

**DOCKETED**

<b>Docket Number:</b>	19-IEPR-06
<b>Project Title:</b>	Energy Efficiency and Building Decarbonization
<b>TN #:</b>	229696
<b>Document Title:</b>	Transcript of 07-30-2019 Re Building Decarbonization Joint Agency Staff Workshop
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	9/9/2019 9:14:17 AM
<b>Docketed Date:</b>	9/9/2019

JOINT AGENCY STAFF WORKSHOP

on

BUILDING DECARBONIZATION

In the matter of:	)	Docket No. 19-IEPR-06
	)	
2019 Integrated Energy	)	RE: Building Decarbonization
Policy Report	)	Joint Agency Staff Workshop
_____	)	

Held at the

California Public Utilities Commission

Auditorium

505 Van Ness Avenue

San Francisco, California 94102

Tuesday, July 30, 2019

10:00 A.M.

Reported by:

Susan Palmer, CET-124, CER-124

## APPEARANCES

From the California Public Utilities Commission:

Rory Cox

Alison LaBonte

Nick Zanjani

Abhilasha Wadhwa

Julie Fitch, Administrative Law Judge

Hal Kane

Colin Rizzo

Shannon O'Rourke

From the California Energy Commission:

Martha Brook, Meeting Facilitator

Tiffany Mateo

Nick Janusch

Reem Rayef

Robert Ridgley

Presenters:

Nic Dunfee, TRC

Rachel Kyukendall, Sonoma Clean Power

Conrad Asper, PG&E

Christine Harada, i(x) Investments

## APPEARANCES, continued

## Commenters/Attendees:

Susan Bea, CPUC  
Kevin Best, Real Energy LLC  
Scott Blunk, Sacramento Municipal Utilities District  
Merrian Borgeson, National Resources Defense Council  
Carrie Brown, Resource Refocus LLC  
Dan Buch, CPUC, Public Advocates Office  
Alan Caldwell, SoCalGas  
Sasha Cole, CPUC, Public Advocates Office  
Michael Colvin, Environmental Defense Fund  
Charley Cormany, Efficiency First California  
Ralph DiNola, New Buildings Institute  
Greg Gahagan, UMA Solar  
Jennifer Ganata, Communities for Better Environment  
Deanna Haines, SoCalGas  
Darren Hanway, SoCalGas  
Arthur Haubenstock, California Efficiency  
and Demand Management Council  
Brad Heavner, California Solar and Storage Association  
Tom Hintz, SeaHold LLC  
Eric Hofmann, Utility Workers Local 132  
Martin Lith, Elane Power  
Jim Lutz, Lawrence Berkeley National Laboratory  
Bruce Maddox, Arden Energy Partners, Inc.  
Beckie Menten, Center for Sustainable Energy  
George Nesbitt, HERS rater  
Ayat Osman, CPUC, Public Advocates Office  
Ole Pilgaard, Heliodyne Solar Hot Water  
John Sarter, Clean Coalition  
Bruce Severance, Mitsubishi Electric  
Ariel Strauss, Small Business Utility Advocates  
Jon Switalski, Californians for Balanced Energy Solutions  
Jennifer West, StopWaste and Bay REN  
Kevin Wood, Southern California Edison  
Jessica Yarnall Loarie, Sierra Club

## I N D E X

Proceedings	Page
Items	
1. Welcome and Introductions:	5
2. Post-fire construction: Lessons from the Advanced Energy Rebuild Program:	10
3. Prize concept for innovation: a TECH program proposal:	41
4. Pilot Guidelines and parameters for the BUILD and TECH programs:	76
5. Details of the TECH program proposal:	107
6. Details of the BUILD program proposal:	147
7. Adjournment	190
Reporter's Certificate	191
Transcriber's Certificate	192

## P R O C E E D I N G S

JULY 30, 2019

10:05 a.m.

MR. COX: Welcome to the workshop for Building Decarbonization proceeding. And before we get started we have some emergency instructions for you and we will start the video. Oh, I'm supposed to start the video.

(Safety video played.)

MR. COX: Great. So just to get things started, I guess one of the things is some of our staff will not be up here today but they have been very, very instrumental toward making things happening in this proceeding and the staff proposal and everything and whatnot. And I'm just going to go around.

Well, there's ALJ Julie Fitch, who is right there; Nick Zanjani, from the Energy Division, is a couple of rows in front of her. We have Shannon O'Rourke way in the back. She is a supervisor from the Customer-Owned Generation Section. Hal is in the room somewhere -- oh, you are right there. Colin. Dale, Jay. And Colin Rizzo is in the back there. And, let's see, Abhi, where did Abhi go? Is Abhi -- oh, she's right in front of me.

Abhi, and I forgot how to pronounce your last name.

MS. WADHWA: Don't worry about it.

(Laughter.)

MR. COX: Okay, don't worry about. This is Abhi. So she's an analyst on the Building Decarbonization Team now.

1           And I'm looking around to make sure that I didn't  
2 forget anyone who might be here, and I don't think I did. But  
3 these are all the folks that I've been working with and it's  
4 just been this agency who have been a wonderful team to work  
5 with on all this building decarbonization topic, and just wanted  
6 to give them a shout-out and, you know, make sure you talk to  
7 them during the break and whatnot.

8           And before we get started, my name is Rory Cox. I  
9 don't know, I want to make sure that I make myself --

10           [AUDIENCE MEMBER]: Whew-who.

11           MR. COX: -- what do you think.

12           (Laughter.)

13           MR. COX: And I'm an analyst with the Energy Division.

14           So I just want to say that within -- the spirit of  
15 this workshop is really that we will be asking you questions as  
16 we go along. This is not the, you know, we're just going to  
17 present stuff at you and expect you to come back at us. It's  
18 going to be we're going to ask questions of you.

19           You had -- we mailed a ruling that went out with the  
20 staff proposal a couple weeks ago and that ruling had a lot of  
21 questions already. Now we have come up with more questions on  
22 top of those questions. So there is -- this is -- being that  
23 this is a brand new program for us in a brand new topic area for  
24 us, you know there is a lot that we are -- we want to know all  
25 the pieces of this and all the things that can go right and the

1 things that can go wrong and what not, and we want to do this  
2 right. So that's -- the spirit of this is, you know, we're  
3 going to ask you questions and ask you to answer.

4 And also this is the first time I've ever experienced  
5 this but we're doing a live simulcast at the CEC in a conference  
6 room there, webinar. And they have a webinar there. So what's  
7 going to happen is after you -- when we take comments and  
8 questions, we'll go over there to the -- to command central over  
9 there and they will ask if there are questions in the other room  
10 and we'll get them through the WebEx and we're going to see how  
11 that works.

12 So, with that, I'm going to bring up Martha from the  
13 CEC, and she can introduce herself.

14 (Applause.)

15 MS. BROOK: Okay. My name is Martha Brook. I am  
16 currently advising Commissioner Andrew McAllister, who oversees  
17 Energy Efficiency, Load Management, and now most recently Energy  
18 and Natural Gas Planning Work at the Energy Commission. I'm  
19 proud to be here and excited. I have loved seeing all of the  
20 California Building Decarb List Serve Members just like in  
21 person. It's amazing. Like, wow, I just thought you existed in  
22 my email, and here you are. No, it's really good energy in here  
23 and I really -- I think we're going to have a great day.

24 We -- so this is the first time for me even though  
25 I've been an Energy Commission employee for a long time, but

1 I've participated in a joint staff workshop -- staff proposal  
2 and now workshop with the PUC and on such a great topic. So  
3 it's been a great experience.

4 And I wanted to also introduce Tiffany Mateo.

5 Stand up, Tiffany.

6 She was probably the, I'd say, lead author on BUILD.

7 And, Nick, I'm sorry I'm not going to pronounce your  
8 last name -- Janusch. And I already butchered it, I'm sorry.

9 He's been mostly helping us on the evaluation  
10 components, but he's also playing a lead role on our building  
11 decarb work at the Energy Commission going forward.

12 And Reem Rayef is an intern with us for the summer  
13 from U.C. Berkeley. And she won't be in school forever, so she  
14 might be needing a job and she's awesome, so please introduce  
15 yourself to Reem at lunch. She's going to be running WebEx for  
16 us, but she's also been playing a critical role in reviewing and  
17 editing the Joint Staff Proposal.

18 So I'm here to facilitate. So I'm looking down at an  
19 agenda. Did you want me to go through and introduce the agenda  
20 first? And then -- or just jump into the proceeding?

21 MR. COX: Oh, yeah. Let me do the proceeding schedule  
22 first.

23 MS. BROOK: Okay. So it'd be great if I knew how to  
24 run this, which I don't. Is this like going to roll up or down  
25 or... There we go. I'm just going to not do it in live time,

1 so I'm going to make sure I have everything in front of me.

2 That's it? Good. I guessed right.

3 So you're all here today because we actually did get a  
4 staff proposal out to you for your review earlier in July. And,  
5 as you know because you read the proceeding proposal, that we  
6 have broken this proceeding into four phases. The first one is  
7 this pilot phase where we have \$50 million a year for four years  
8 to spend wisely and really focus on ways to scale building  
9 decarbonization in the state. So that's what we're going to  
10 talk about today.

11 We also have a Phase 2 which is Fire Rebuild, which  
12 hopefully gets launched later this year. And Phase 3 is  
13 integrating building decarbonization into codes and standards in  
14 earlier 2020 and in some ways piloted by Building Initiative for  
15 Low-Emissions Development (BUILD), which we'll talk about. And  
16 then Phase 4, early next year, really thinking within a broader  
17 framework of all of the different elements of building  
18 decarbonization that are happening in various proceedings at the  
19 Public Utility Commission and how to integrate that into a  
20 larger long-term policy framework for the whole state of  
21 California.

22 So super exciting. This is just like the coolest  
23 proceeding ever. It's got -- it's just got such a -- it's a  
24 very thoughtful, I think, approach to -- to new work for both of  
25 our agencies, but super important and critical and timely work

1 for -- to reach, you know, California's climate goals.

2 So we will hear a little bit about Fire Rebuild today,  
3 which will sort of get you thinking about Phase 2.

4 And let's see what's next queued up. Is this where I  
5 jump right in to the next part of the agenda?

6 MR. COX: Yes.

7 MS. BROOK: Okay. So just because I'm looking at an  
8 agenda, we're going to have lessons from a post fire  
9 construction program next from Nic Dunfee at TRC. That's going  
10 to be our Fire Rebuild part of our agenda today. And then after  
11 that we're going to talk about the concept of a prize, innovated  
12 prize type of a program that might become an element hopefully  
13 in our [Technology and Equipment for Clean Heating] Program.  
14 And so we're going to do those both before lunch. And then  
15 after lunch we're going to go through the main components of our  
16 Staff Proposal and get some feedback from you and ask you  
17 questions, as Rory has mentioned, and really get you queued up  
18 to provide excellent comments into our docket.

19 So with that, I'm going to invite Nic to come up.

20 \* MR. DUNFEE: Hello, everyone. I'm Nic Dunfee. I'm  
21 with TRC, and we are the third-party implementer, current third-  
22 party implementer of the California Advanced Homes Program for  
23 PG&E. And that extended over to the Advanced Energy Rebuild  
24 Program when they got permission to expand that program to  
25 assist the affected homes in Northern California.

1           So the Advanced Energy Rebuild, it's really -- it's a  
2 collaboration. It's multiple programs that are running as  
3 different programs in the background, but the forward facing,  
4 it's one program to participants. So it's a collaboration  
5 between Sonoma Clean Power, Pacific Gas & Electric, the Bay Area  
6 Air Quality Management District. MCE is actually joined in with  
7 some funding through BAAQMD as well, so they're actually taking  
8 part in this now.

9           The program was recently awarded a Bay Area Metro  
10 Award. And these awards were focused on collaboration. And  
11 we're very proud to have received this award for the program.

12           So a little bit about the program design. So this  
13 started with an advice letter approved by the Commission that  
14 allowed the CAHP program to expand their incentives and double  
15 them for folks that were rebuilding from the fire. And that  
16 goes with the property or with the property owner. So a  
17 property owner rebuilding within PG&E territory is eligible for  
18 this or someone rebuilding on an affected property, this is also  
19 available.

20           We wanted to simplify the program because now we're  
21 dealing with homeowners as opposed to production builders, and  
22 I'm going to get into some of those caveats a little bit later  
23 on. But for that reason, we decided to simplify the program and  
24 we set up a two-tiered system where basically there is a set  
25 incentive that's available for split-commodity homes that are

1 receiving natural gas and electric service. And there's another  
2 tier of incentives that's available for homes that are going all  
3 electric.

4 We came up with a mechanism that's allowing us to  
5 deliver 50 percent of the reserved incentives upfront for these  
6 homeowners, which is something we don't do in a typical  
7 production build program. And we did that because we really  
8 want to help these homeowners get back on their feet, be able to  
9 start building, and to be able to keep their contractor paid and  
10 keep them onsite because there is a real lack of labor in the  
11 North Bay right now.

12 And, like I said, we wanted to really make sure this  
13 was one public facing program. So while we're pulling multiple  
14 funding sources to the participant, to the builders, to the  
15 homeowners, this just looks like one cohesive program upfront,  
16 but really in the background we're pulling funding from three  
17 sources, reporting things in different ways to different folks  
18 in the background.

19 So there are two different pathways. There is a  
20 flexible performance path and there is a menu-based path. And  
21 you can look at this like code compliance. This is your  
22 performance path and your prescriptive path. And with that, we  
23 have the advanced energy home, which as your split-commodity  
24 home. Those homes are eligible for up to 7500 in incentives.  
25 All-electric homes are eligible for up to 12,500. And either

1 one of those options can add on a solar option. But to be  
2 eligible for the solar option, it's not just solar, this has to  
3 be solar with battery storage in order for them to receive the  
4 5,000 bonus. So that means a split-commodity home could receive  
5 a total of up to 12,500 and an all-electric home can receive a  
6 total of up to \$17,500 in incentives for the rebuild.

7 So a little bit about the pathways. The flexible  
8 performance path is pretty straightforward. We want you to be  
9 20 percent above 2016 Title 24. And for the split-commodity, we  
10 also require that all end uses be wired for electric. Even if  
11 they're putting in natural gas, we want to require that prewire  
12 in order that future homeowners have the option to easily switch  
13 fuel source and also so that future programs know these homes  
14 are going to be much more affordable to retrofit over to all-  
15 electric as opposed to homes that have not been prewired.

16 The only other additional requirement is an electric-  
17 vehicle charging station, which Sonoma Clean Power actually  
18 provides that equipment for free. It's already in Cal Green for  
19 the prewire for the conduit, so this should be no additional  
20 cost to any of the homeowners to meet this additional  
21 requirement.

22 So you're 20-percent above code, you're prewire all-  
23 electric, you install your EV charger, you're eligible for the  
24 7,500.

25 Now say you don't hit your 20-percent above code, you

1 can also take a prescriptive path. I'm not going to go through  
2 the details of this, but we're basically looking for advanced  
3 measures. And these also include not only efficiency measures  
4 but some water efficiency measures and just some best practices  
5 that we wanted to see adopted within these homes.

6 So the all-electric is very similar: 20-percent above  
7 code and all-electric with an EV charging station. And you're  
8 eligible for the 12,500; or we also have a menu-based path for  
9 the all-electric as well, which requires things like induction  
10 cooking, requires heat pump water heaters, and has a little bit  
11 more stringent requirement to get to that \$12,500 amount. If  
12 you wanted more information on these, on the prescriptive path,  
13 we can discuss offline, but I just don't want to take the time  
14 to go through all the requirements during the presentation.

15 I am going to talk about one -- about a couple  
16 requirements we have. If you go through the prescriptive  
17 method, we give -- we require a high-performance attic and we  
18 also require ducts and conditioned space.

19 We do make an exception for fully-sealed attics. Even  
20 though code does not consider these ducts and the fully-sealed  
21 attic to be in condition space, we accept them for the program.  
22 And we do that for the reason that with a fully-sealed attic,  
23 it's a fire-prevention measure. Many fires start not from the  
24 outside of the home but from embers being pulled into the  
25 soffits, into the openings, and coming into the attic space or

1 into the crawl space and they start the fire from inside the  
2 home. So we have allowed the fully-sealed attic to hit both  
3 requirements of a high-performance attic and the ducts and  
4 conditioned space simply for the fire resiliency aspect of it  
5 within the program.

6 Another very unique feature of this program that came  
7 at the insistence of Sonoma County is we actually are  
8 incentivizing [accessory dwelling units] on these properties.  
9 That's to help the housing issue. It's to get additional  
10 housing. We know all these homes aren't going to be rebuilt.  
11 The more that we can get rebuilt with an ADU on the property,  
12 the more housing we have in the area, and it's just going to  
13 help the housing issues in general.

14 And for those additional dwelling units, we give out  
15 50 percent of the full incentive for the second dwelling unit on  
16 the property. So the first dwelling unit that's built on the  
17 property is eligible for the 7,500 or the 12,500, and the second  
18 one is eligible for 50 percent of that incentive.

19 We promoted some educational opportunities around the  
20 program, especially when the program first launched. The  
21 [California Association of Building Energy Consultants] came up  
22 and gave a [Certified Energy Analyst] exam. The program does  
23 require a Certified Energy Analyst to complete the  
24 documentation, just like the CAHP program. We find that there  
25 is much -- we have much less QA/QC time and it's much better

1 quality that the homeowners are receiving from those CEAs. So  
2 we offered an exam in Santa Rosa that was actually subsidized  
3 for local residents to take the exam and become certified by  
4 Sonoma Clean Power.

5 And then Sonoma Clean Power also incorporated an  
6 induction cooktop lending program that's been very successful,  
7 where they allow customers to rent out an induction cooktop for  
8 free to take home and try out. And they have gotten some very,  
9 very positive feedback from the results of the lending program.

10 So like every hero, AER deserves an origin story. In  
11 October 2017, both PG&E and SCP were working to develop  
12 programs. And this really started before the fires were even  
13 out. We started having these conversations about what we were  
14 going to do for these affected homeowners.

15 In November-December of 2017, PG&E and Sonoma Clean  
16 Power decided to combine efforts so that we weren't implementing  
17 competing programs. We wanted to make sure that we weren't  
18 competing for customers, we weren't confusing customers, so we  
19 wanted to join forces and make sure that we were, you know,  
20 going out with one comprehensive program, which honestly was a  
21 bit trying in the beginning. PG&E being resource-funded doesn't  
22 really have the ability to promote all electric and Sonoma Clean  
23 Power coming into this didn't want to incentivize homes that  
24 were not all electric. So there was a lot of back-and-forth to  
25 finally land on these pathways that we came up with. The

1 electric prewire I feel was a big part of making that -- making  
2 that happen.

3           In January-February of 2018, Sonoma Clean Power  
4 attended additional funding from BAAQMD for heat pump technology  
5 and carbon-reducing technologies that we're able to incorporate  
6 in the program. And in May of 2018 we actually launched the  
7 program and went public, which honestly for anybody that's dealt  
8 with program design and implementation, to be able to not only  
9 get a program off the ground this fast but to get a program off  
10 this fast pulling in all these different entities was quite a  
11 feat and it's pretty impressive, and getting advice letters  
12 approved from the PUC in order to do all this. So pulling all  
13 these entities together and really, really putting all our  
14 efforts into this, it was quite a task to get this up and  
15 running as quickly as we did.

16           So just the roles of the different entities. PG&E is  
17 supporting with resource funding through a [California Public  
18 Utilities Commission] advice letter that allowed them to double  
19 incentives that we're currently offering for the Residential New  
20 Construction Programs. And they're responsible for the majority  
21 of the program implementation costs through that -- through the  
22 mechanism of the existing California Advanced Homes Program.

23           Sonoma Clean Power is using internal funding that they  
24 set aside for the GHG reduction. And their role as far as  
25 implementation was more on the outreach and marketing side.

1 Since they're the local CCA, they have the boots on the grounds,  
2 they had the contacts with the local individuals. So we relied  
3 heavily on SCP for the marketing and outreach to get the word  
4 out about the program.

5 BAAQMD on the background is providing funding for GHG-  
6 reducing technologies. So that's for heat pump water heaters,  
7 heat pump space heaters, and the solar and battery storage  
8 options. They're providing additional funding through Sonoma  
9 Clean Power.

10 And TRC, as the third party, we're responsible for the  
11 program implementation, design, consulting, and the actual  
12 processing, the infrastructure of the program. And then we were  
13 also responsible for stakeholder education as far as educating  
14 the industry, the energy consultants, the builders, the HERS  
15 raters in the area.

16 And really without pulling all three of these  
17 together, all four of these entities together, the program  
18 wouldn't be as successful as it is today.

19 So just a little bit of difference in the rebuild  
20 programs from what a typical new construction program looks  
21 like. And the big difference, it all boils down to the fact  
22 that we are dealing with custom homes and individual homeowners  
23 and not production builders. So this is kind of the -- there is  
24 a lot of additional administrative thought that goes into these  
25 homes. So just for example with the traditional program, the

1 developer owns all the land. With the AER program, all these  
2 homes are already owned by individual homeowners. So that means  
3 that every home is one application, it's one plan, it's one  
4 QA/QC. And because we're doing the upfront incentives, now we  
5 process two incentives for every single home that comes through.

6 A typical program under the CAHP, when we do -- under  
7 the CAHP program when we deal with the production builder, you  
8 get one application for an entire development. That could be  
9 250 homes. Those 250 homes could have just five plans to review  
10 because those five plans are being used across the whole --  
11 whole program. So you get into a lot more of these one-offs.  
12 Every single custom home is a plan review, it's an application,  
13 it's two incentive processing. So there's a lot of  
14 administrative differences between this and a typical rebuild --  
15 typical new construction program, but it leads to some real  
16 advantages as well because now we're dealing with a homeowner  
17 and not a production builder.

18 A production builder is building a home to the bottom  
19 line. They want to build a home with the highest profit margin  
20 possible. And when they're looking at programs, they want to  
21 look at do the incentives offset the cost of the -- incremental  
22 cost of the measures you're asking us to implement. We're now  
23 building with a homeowner, we actually have the ability to  
24 educate these homeowners on the lifecycle cost, the true  
25 lifecycle cost of these measures. What are the true benefits to

1 the homeowner and the occupants of the home, things that the  
2 production builder just does not honestly care about in the  
3 first place. They're dealing with, you know, what they can sell  
4 the home for and the bottom line.

5 And this gave us the opportunity to really educate  
6 these homeowners through the program. And we hope that this  
7 results in some sort of spillover when they make their next  
8 housing choices, when they build their next home, that they're  
9 actually pushing their builders to implement these measures  
10 without a program and that they're actually looking for some of  
11 these measures when they go to purchase their next home.

12 So now I'm going to run through some of the numbers.  
13 And these numbers are through the end of May. These align with  
14 the advice letter report that was given to the CPUC earlier this  
15 year. These numbers are -- like I said, these are through the  
16 end of May. The numbers are quite a bit higher now currently.

17 So we have a total of 105 total applications. That's  
18 104 single-family homes. We have seven ADUs and 96 multi-family  
19 units. We have one multi-family building that's come through  
20 the program. Of those, 33 of those applications have been all-  
21 electric. And we're capturing about six percent of all permits  
22 being pulled in Sonoma and Mendocino currently.

23 So these are the enrollment statistics. We had  
24 enrolled 65 single-family projects, one multi-family. It's 161  
25 dwelling units. Twenty-eight of those projects are all

1 electric, 12 of those projects are taking the PV and battery  
2 bonus. So, just to be clear, the 12 are people that are  
3 installing PV and battery. Some folks are installing just PV.  
4 So out of those 28 all electric, 27 of those have actually  
5 installed PV and battery systems, 12 -- or PV systems. Only 12  
6 have installed the battery to go along with it to get the bonus.  
7 So the solar number is actually higher than this appears.

8 Thirty-one of those projects are using heat pump water heating  
9 and 40 of those projects are using heat pump space heating.

10 So we're looking at total enrolled kWh savings, and  
11 these are efficiency savings. These are not taking into account  
12 solar. These are how the CAHP program needs to report to the  
13 PUC, these numbers are much higher when we take into account the  
14 solar. So our total enrolled is a little over 9,000 kWh.  
15 That's 60 kWh per dwelling unit.

16 When we look at solar, this number actually goes up to  
17 about 4300 kWh per unit on average. And the homes that are  
18 adopting solar, we're about 16,000 kWh per home on those homes.

19 Total enrolled therms, we're at about 62,000 therms.  
20 That's 387 therms per dwelling unit.

21 We're at 2.1 tons per dwelling unit of CO2, for a  
22 total of 340 tons of CO2 removed annually.

23 We reserve just under a million dollars in incentives.

24 And our average percent above Title 24 is about 24  
25 percent above Title 24 for all enrolled homes.

1           The average incentives for a single-family home have  
2 averaged 9,615. And you could see the breakout of the incentive  
3 dollars per -- for each entity involved. Again I will reiterate  
4 that a lot of the costs are shared administratively, heavier  
5 towards PG&E, whereas SCP has more of the incentives dollars, so  
6 it really kind of equals out when you look at it at a higher  
7 level.

8           And then the multi-family average is 920 from PG&E,  
9 2830 from SCP, for a total of 3750 per unit average on our  
10 multi-family dwellings.

11           So as a program implementer, this is something that we  
12 never see from production builders. This is unsolicited  
13 feedback that we have received from homeowners. This was not us  
14 reaching out. This is homeowners that when they receive their  
15 incentive check, turn around and send us an email thanking us  
16 for educating them about the efficiency in their home, for  
17 providing them the funding that they needed to have a more -- an  
18 improved home with better indoor air quality.

19           And, as a program implementer, it just really, really  
20 blew me away to see these coming through, because you don't see  
21 these, you never have a production builder send you a thank-you,  
22 to thank you for the incentives for their housing development.

23           So this is unsolicited feedback we received.  
24 Recently, the CPUC approved an advice letter that allowed the  
25 program to expand into the Paradise area for the fires that took

1 place in 2018. And, as part of that, we did a survey for  
2 participants and nonparticipants both in the Sonoma-Mendocino  
3 areas through Sonoma Clean Power, just to get some feedback.  
4 And we got some really -- we got a good education out of the  
5 feedback.

6 And the fact that these homeowners are going through a  
7 process that's not like a typical rebuild. It's not like a  
8 typical new production. They have to wait for the water to be  
9 cleared. They have to wait for the site to be cleared to be  
10 built on. And a lot of them viewed the program as an additional  
11 step that the money just wasn't worth taking the time to enroll.  
12 So something that we were working on in the expansion is we're  
13 working on educating the homeowners of how this program fits  
14 into their process and actually step by step how it works.

15 And we don't require any additional paperwork beyond  
16 an application from what they already need to produce for  
17 compliance. So we're working in the rebuild in the Paradise  
18 area to really work hand in hand with these folks to try to work  
19 them through the process and show them how the program aligns  
20 with the process they're already going through and that it's  
21 really not much additional work. It's really just an  
22 application and making sure that you get the right people  
23 involved at the right times.

24 And one other thing that we're working on in the  
25 rebuild for the Paradise area is we are currently working with

1 manufactured homes developers. There were about 35 manufactured  
2 home communities that were destroyed. And given the income  
3 level in the Paradise area, we are hoping to be able to extend  
4 these incentives into some manufactured homes area arena so that  
5 we can get some help out to these folks that might not be  
6 building a typical Title 24.

7 Yeah. Yeah, I'll take questions.

8 MR. COLVIN: Hey. Good morning. Michael Colvin from  
9 Environmental Defense Fund. Thanks for a great presentation.  
10 Just a couple of really quick clarification questions.

11 The advanced dwelling unit that you talk about with  
12 that extra 50 percent, were there metering requirements or  
13 anything else specific to that additional unit, that it may be  
14 separately metered? How did that work?

15 And then for the electric vehicle requirements that  
16 Sonoma Clean Power did, was there any -- a use rate requirement  
17 or anything else to incent PV charging that would sort of going  
18 to promote decarbonization and not just electric vehicle  
19 deployment? Were there any requirements there?

20 Thanks much.

21 MR. DUNFEE: Okay. So I will cover the first half of  
22 that. For the ADUs, we just require that they be permitted as  
23 an ADU, that the residence on the permit be permitted as an  
24 accessory dwelling unit is the only requirement we have there.

25 And I will let Rachel take the question.

1 MS. KUYKENDALL: Yeah. For the electric vehicle  
2 charging stations, we have a sister program called GridSavvy,  
3 which is our Demand Response Program, which is a layer onto  
4 everything. So we're actually sending remote signals to either  
5 ramp up or down those residential charging stations depending on  
6 grid being -- so not required to be TOU, but we do a lot of that  
7 with our program.

8 MS. RAYEM: We have a question from the WebEx: Is  
9 there a similar program for Thomas and/or Woolsey Fire  
10 rebuilding in the Southern California Edison service area?

11 MR. DUNFEE: So I know that there is an advice letter  
12 currently under consideration at the CPUC to allow that program  
13 to expand down there. That's still under consideration.

14 MR. ASPER: Can I ask...

15 MS. BROOK: This is Martha Brook. I have a question.  
16 So what percentage of those permits is the program targeting?  
17 So you got six percent. Does the budget and the inspiration of  
18 the program, did you -- were you targeting a certain percent of  
19 the population there?

20 MR. DUNFEE: So we were targeting -- we weren't really  
21 targeting a percentage. We were targeting a number of homes.  
22 And we are -- we have definitely picked up a head of steam over  
23 the last few months. Those numbers are now -- we're up over 200  
24 dwelling units now. The last couple months we've had a lot more  
25 activity. And we're -- honestly, we're just seeing the permit

1 activity tick up in the region over the last three or four  
2 months. It's taken that long for folks to get their property  
3 approved to start rebuilding. We were targeting around 400  
4 homes and depending on current advice letter approval, I think  
5 that we will come close to hitting -- we'll come close to  
6 hitting those numbers.

7 MR. STRAUSS: Ariel Strauss with Small Business  
8 Utility Advocates.

9 I notice that one of your numbers at 28 out of the 100  
10 houses went all electric. What were some of the barriers you  
11 experienced to increasing that number and why did some of those  
12 homeowners choose to -- so many of them choose to stay with both  
13 systems?

14 MR. DUNFEE: Honestly, the majority of the time, and  
15 this is true in other programs I'm involved with, that decision  
16 comes down to two end uses: Induction cooking and their  
17 fireplace. And most of the time it's the induction cooking,  
18 folks don't want to give up cooking with natural gas. But  
19 honestly in the Sonoma area and Santa Rosa area, we get a lot of  
20 feedback for fireplaces a lot more. And it's more in the  
21 higher-end homes, but we definitely got a lot of pushback for  
22 folks that wanted to install natural gas strictly for fireplaces  
23 and cooking. And, like I say, that's pretty much across the  
24 board, the pushback, in most of the electrification programs in  
25 operation right now. A lot of the builder feedback is they

1 don't feel that they're able to sell a home that doesn't have  
2 natural gas cooking. They don't think the market's ready to  
3 purchase those.

4 MR. ASPER: Conrad Asper of PG&E, I want to also  
5 comment. I think, as Nick had pointed out before, these people  
6 have been through a lot as well and they kind of just want back  
7 what they had, so I think that's a lot of a motivating factor as  
8 well.

9 One might look at this as an opportunity for  
10 electrification. And I think we have to be very careful with  
11 the sensitivities around these fire victims that have gone  
12 through so much. So I say a word of caution there as far as  
13 trying to push electrification. However, I think offering that  
14 and making sure that they know the opportunities and options and  
15 the costs associated with both are pretty important. So we did  
16 try to provide as much education as we could for those.

17 MR. DUNFEE: And we developed webinars specifically  
18 for homeowners internally at TRC that I actually removed all  
19 engineers from having anything to do with the development of it  
20 so that we could actually speak to homeowners and try not to  
21 speak over their head when we talk about these measures. And we  
22 actually had some of our administrative staff put it together  
23 with interviewing us so that we were delivering a message that  
24 was palatable to a homeowner as opposed to our typical outreach  
25 we do to builders, and the industry is familiar.

1 MS. RAYEM: I have one from the WebEx: Do you have  
2 any idea about some program results on loaned-out electric  
3 induction units?

4 MS. KUYKENDALL: Yeah. So this is Rachel from Sonoma  
5 Clean Power. We've had that program now up running for about a  
6 year. And certainly if this person wants to connect with me  
7 again, we do a very detailed survey after the fact when we lend  
8 them out.

9 So we've lent out about a hundred. We ask some  
10 qualifying questions about what cooktop they are using  
11 currently. Most are gas. Once they cook on induction, results  
12 are really favorable. So we're trending about a score of, I  
13 think, nine out of ten of people saying they would like to make  
14 the switch to induction and about a third of folks who are  
15 rebuilding who do make that decision as a result of that  
16 program. But it's a really easy program for us to implement and  
17 really favorable responses once they figure out what induction  
18 is.

19 MR. HOFMANN: Good morning. Eric Hofmann, president  
20 of the Utility Workers Union of America, Local 132.

21 I have sort of a two-part question. The first is: Do  
22 you any of you know off the top of your head what the greenhouse  
23 gas emissions that were emitted from the Paradise, Thomas, and  
24 Woolsey Fires? So that's question one.

25 MR. DUNFEE: Not off the top of my head, no.

1           MR. HOFMANN: The reports that I got from [the  
2 California Air Resources Board] were they were significant, to  
3 say the least. And, just to point out, that all of those fires,  
4 at least from what we know, were caused by down power lines. So  
5 I want people to consider when we go to a one-stop shop for a  
6 fuel source, which we already know that we're going to be  
7 shutting down in high-wind concentration areas, that we're going  
8 to be losing our one source of energy. So when the winds come  
9 up, instead of using gas, we're going to shut the power off,  
10 we're no longer going to have the ability to heat water, we're  
11 no longer going to have the ability to use our fireplace, we're  
12 not going to have the ability to cook because we shut off the  
13 power.

14           So I want everyone to understand that when we do that,  
15 I get it, there's a lot of -- there's a lot of academic elites  
16 in this room, I could appreciate that, a lot of smart people.  
17 But there's also a lot of people that we're not thinking about  
18 in areas I represent, in Compton, and East L.A., South Central  
19 Los Angeles, this is just -- it's nuts. But, anyway, so my  
20 question is are we prepared to move to that situation where  
21 we're ready to roll with one source of energy?

22           Thank you.

23           (Panel confers.)

24           MR. COX: I do have a question. Yes, so we had -- we  
25 kind of have a unique situation with, you know, PG&E, Sonoma

1 Clean Power and BAAQMD. And it seems like every community in  
2 California is now in a unique situation with multiple parties  
3 providing energy and energy services, and whatnot. And you know  
4 the idea of this proceeding is how can -- hopefully we didn't  
5 just capture lightning in a bottle once and we'll never be able  
6 to do it again.

7           You know we want this kind of collaboration to happen  
8 again, what was offered there. And I guess what -- and we're  
9 looking for -- you know we're really looking for like what is  
10 the advice you can give to us to move this and replicate  
11 something like this in future fire zones. The idea is that we  
12 can roll this out without any -- you know, without having to do  
13 an advice letter, it's just ready to go, yeah.

14           MR. DUNFEE: So the first thing that I would say is  
15 the use of a third-party implementer, and this is kind of me  
16 tooting our own horn right now, but the use of a third-party  
17 implementer made getting this program up and off the ground as  
18 quickly as it did accessible. Without a third-party implementer  
19 to deal with each entity individually it's more difficult, so  
20 it's an individual contract with each entity as opposed to them  
21 trying to deal with one another, they're able to funnel funds  
22 through the third-party entity. We actually set up through  
23 Sonoma Clean Power. Sonoma Clean Power was able to set up an  
24 escrow account with us so we have funds sitting there ready as  
25 soon as a project is approved. We have a check in the

1 homeowner's hands within two weeks. Without a third-party  
2 implementer, that doesn't happen. And then we just backfill  
3 PG&E for their portion of that.

4 So I really feel that, you know, as a third-party  
5 implementer that without our intervention in this I don't think  
6 it would run as smoothly and I definitely don't think that we  
7 would have been able to get up and off the ground nearly as  
8 quickly as we did.

9 MS. KUYKENDALL: Yeah. Echoing that I'd say what  
10 we've kind of discovered being so far in this process is that  
11 PG&E and SCP really complement each other really well and we  
12 have, I think, unique strengths. So I will say PG&E was  
13 phenomenal in just having this infrastructure in place. And,  
14 honestly, we couldn't have done this without them, and being  
15 able to just really easily and nimbly start cutting checks to  
16 customers, and that was important to us.

17 I will say they were really flexible in being able to  
18 alter the program and make it something that was unique and  
19 suitable for average customers. And that was pretty critical as  
20 well. And I think where SCP really helps is being able to be  
21 there physically on the ground meeting with customers. If I  
22 wasn't here, I'd probably have eight meetings with Advanced  
23 Energy Rebuild customers today. So it's a lot of effort just  
24 being there on the ground, and I think that's really critical  
25 when you look at these programs, not just having the big utility

1 but having that partner who can really speak to people who are  
2 rebuilding.

3 MR. ASPER: And I would agree with Rachel on that.  
4 You know when you were talking about the roles, you had said  
5 that they were kind of the marketing support and stuff like  
6 that, but I can't emphasize enough how -- I mean it's actually  
7 an individual, as Rachel said, I mean the hand-holding that goes  
8 on is pretty significant. So having that -- and what we've done  
9 up in the Paradise area for PG&E's program up there is we have  
10 partnered with our Energy Watch partner NORTECH who has a group  
11 that's -- you know, people that are on the ground there. And so  
12 we're able to -- we'll see how that rolls out over time, because  
13 we're still early in the process there. But I think, yes,  
14 definitely having that connection and marketing on the ground is  
15 important.

16 MS. MENTEN: Hello. This is Beckie Menten, Center for  
17 Sustainable Energy.

18 One of the things I think is so awesome about what you  
19 all have in the Sonoma program is the infrastructure that  
20 Sonoma's bringing to the table, Sonoma Clean Power with the Grid  
21 Savvy program as well. Given the fire shutoffs, given the  
22 comments about need for additional resiliency, I'm curious if  
23 there has been exploration or consideration of bringing  
24 additional funds to the table either from PG&E, Sonoma, or  
25 elsewhere to explore storage incentive, to explore having

1 behind-the-meter storage added on to the load-management program  
2 as well, and if that's a model that can be considered in making  
3 this program or this pilot a statewide thing?

4 MS. KUYKENDALL: Yes. So Grid Savvy, which is our  
5 demand response program, we definitely do see it as a layer onto  
6 everything. What's really sort of unique about these all-  
7 electric homes is we're starting to get data on them. And they  
8 can either be really good grid resources or they can look like  
9 little mini duck curves. So it's really important for us to  
10 start integrating with these things. And we're finding a  
11 variety of impacts in terms of load just depending on which  
12 manufacturer, say a battery storage vendor is, so we're knee  
13 deep in studying that and looking forward to expanding the  
14 program to other various DERs.

15 MR. ASPER: And I'm not a hundred percent sure on, you  
16 know, the relationship between our grid interaction and battery  
17 storage group and their integrating with the customer. I think  
18 if you have the customer --

19 MS. KUYKENDALL: We are.

20 MR. ASPER: Yeah. Okay, good. Yeah, so I mean she  
21 knows more about it than I do, so.

22 MS. BEA: Hi. Susan Bea (phonetic) from PUC. So I'm  
23 going to slightly push back on your tooting your own horn, but  
24 we appreciate you did great work so it's not really pushback.  
25 But just from the perspective of the seat we sit in, could you

1 give us some idea of how much it costs per dwelling unit to have  
2 a third-party implementer be, you know, a central force? Like  
3 how much money is it extra for having a third-party implementer;  
4 is there some calculation like that?

5 MR. DUNFEE: I have never run numbers like that to  
6 know what it would consist of for the IOU to operate internally  
7 to compare that to.

8 MS. BEA: No. My question is not what it would cost  
9 IOU to operate internally. My question is for this project,  
10 hiring a third-party implementer meant how much extra dollars  
11 per dwelling unit?

12 MR. DUNFEE: I can't tell you how much extra it would  
13 cost without knowing what it would have cost for the IOU to do  
14 it initially. You're asking for an incremental cost and I don't  
15 know what that initial cost is. And I've never done the math on  
16 the other side per dwelling unit. I've never looked at it in  
17 that method so I don't have an answer to that currently.

18 MR. LUTZ: Looking at a fractional, not incremental,  
19 what fraction went to TRC and what fraction went to SCP? You  
20 know, how much per -- when you tally up the total project  
21 dollars and divide by the number of units?

22 MR. DUNFEE: Well, I don't have those numbers in front  
23 of me to do them --

24 MR. LUTZ: But that's what she's asked for.

25 MR. DUNFEE: Yeah, yeah. Right. Thank you.

1           MR. NESBITT: George Nesbitt, HERS rater, as well as  
2 many other things.

3           Start with a question about electrification. I think  
4 for a lot of people decarbonization and electrification are a  
5 foregone conclusion, although I don't necessarily think it's the  
6 only path. I think historically a lot of people may have went  
7 electric only because they didn't have natural gas service  
8 available to them. You also have people who then also went off  
9 grid because the cost of bringing in the grid was too high, so  
10 it was cheaper to invest in solar batteries. And I would say  
11 predominantly with some form of gas backup, maybe a nice dirty  
12 diesel.

13           So my first question I guess is the houses -- I'm  
14 going to repeat the question that was asked earlier but I'm  
15 going to ask it differently. Why did those 28 homes choose to  
16 go all electric? Is it because they were in a more rural part  
17 of the burn area, where they don't have natural gas service, or  
18 are they where they have natural gas service, they chose to go  
19 electric? You know, that's...

20           MS. KUYKENDALL: Yes. So it actually is really hard  
21 for either of us to gage propane use, but we did look at this.  
22 I would say it's split between folks who were rural. We do have  
23 a big portion of our customers who are rural who were offsetting  
24 propane and going all electric. We do have a portion of those  
25 folks who were all electric before who are rebuilding all

1 electric. And then we have a whole slew of folks who are more  
2 urban homes who are electrifying for the first time. So we can  
3 certainly -- I know we have crunched those numbers before  
4 internally and be happy to follow up with folks on a more  
5 dedicated push on what that looks like. But I'd say it's a mix,  
6 honestly, of different drivers.

7 MR. NESBITT: Yeah. I mean because electric and  
8 especially with heat pump is probably going to be cheaper than  
9 propane and has been for ages.

10 Another question is so you required houses that are  
11 installing gas to prewire for electric. Can you expand a little  
12 bit on what you're requiring them to actually do? I mean one of  
13 the -- one of the hazards with prewiring anything is are you  
14 actually prewiring it correctly. So the Energy Code I think  
15 went to some prewiring stuff for like water heaters, but if it's  
16 only a 110 volt circuit that will not support a heat pump, so.

17 MR. DUNFEE: So, yeah, we have a list of requirements.  
18 We're requiring -- I don't know what the exact -- what they are  
19 exactly off the top of my head, but we are requiring wire to the  
20 box, the box to be wired, there to be a breaker in the box,  
21 everything be prewired, ready for somebody to come in, take a  
22 unit and plug it in and go.

23 MR. NESBITT: I mean ideally it would support the  
24 capacity and the voltage of what you might expect to go in?

25 MS. KUYKENDALL: I can't say it does, and if you

1 wanted to dig into the requirements they're on the program  
2 website. But we do require 220 to 240 upgrade appliances.

3 MR. NESBITT: So that brings up issues. You ever hear  
4 of this thing called the HERS rating system, California Energy  
5 Commission, Title 20? Some of us in this room helped develop it  
6 over a decade ago. So when we rate a home and if it's wired for  
7 electric, so let's say you have a dryer, a clothes dryer, but  
8 let's say it's gas. But let's say there is a large plug there  
9 for an electric dryer. As a HERS rater, the Energy Commission  
10 said we have to rate the home as if it was an electric dryer.  
11 So that gets into sort of the energy design rating. So it's a  
12 gas home, but you're having to put electric.

13 Honestly, for code compliance, code compliance is  
14 different between an electric home and a gas home. So it's  
15 compliant as a gas home, but it could become an electric home.  
16 And I can probably guarantee that a lot of the electrification -  
17 - the solar industry has been pushing electrification. I've  
18 seen customers that had high bills putting in solar, and they  
19 still had a thousand dollar a month bill because the solar  
20 people told them to plug more crap in, right, electric  
21 resistance heating.

22 So, you know, a lot of electrification, even if it's a  
23 heat pump water heater only one night and not the whole house is  
24 probably being done completely outside of Title 24, Part 6  
25 Energy Code compliance.

1 MS. BROOK: Okay. So me facilitating, I don't want  
2 you to go anywhere. You still can ask some questions. Let's  
3 try and keep to our eleven o'clock budget. So if we could get  
4 through our next three speakers, that would be awesome.

5 MR. BUCH: Dan Buch, Public Advocate's Office. Just a  
6 quick question.

7 I recall the PG&E's advice letter originally for this  
8 program was premised around a particular opportunity that we had  
9 a code change coming up, but folks were rebuilding, they weren't  
10 required to meet the 2019 code yet. And so the idea was to --  
11 we had this opportunity to incentivize some additional savings  
12 that weren't otherwise required.

13 With the 2019 code change coming in very quickly, can  
14 you sort of explain a little more? Like what is the opportunity  
15 at this point? Is that opportunity still there? Are you going  
16 to try and push further? What are the incremental sort of  
17 effects of the program now that your 2019 code within a few  
18 months is going to be mandatory; could you speak to that a  
19 little more?

20 (Smartphone tune.)

21 MR. ASPER: So the program is designed to move people  
22 to the 2019 code before the 2019 code goes into effect. That is  
23 still going on. People getting permits now will be under that  
24 2016 Title 24 Code requirements, and so there is code, you know,  
25 relevance and push as far as energy savings for those homes. We

1 have filed an advice letter for extension, but that's something  
2 that's in the works right now so I don't really feel right to  
3 talk about that at this point.

4 MR. [AUDIENCE MEMBER]: So I wasn't there, so go back.  
5 So what you just said where the advice letter doesn't get filed  
6 -- the advice letter --

7 MS. BROOK: Use a mic.

8 MR. [AUDIENCE MEMBER]: So what you just said doesn't  
9 square with the advice letter PG&E filed two weeks ago, which  
10 would extend this into 2020 and would effectively incentivize  
11 people to build at code.

12 MR. ASPER: Again, there is an advice letter underway.  
13 I don't know if a public forum here is the right place to talk  
14 about that. You could certainly file comments on that, and I'm  
15 confident that we will. Thank you.

16 MR. BLUNK: Hi. Scott Blunk with SMUD. And we also  
17 are doing quite a bit of electrification.

18 And, just to put it on the record, relative to gas  
19 cooking we gave away 400 portable units and did survey results  
20 after people were able to use them for a long extended period of  
21 time. Ninety-one percent agreed they preferred it over gas or  
22 at least felt it was an equivalent and they would have no  
23 problem switching.

24 New construction, we have 1400 homes in the queue to  
25 be built in the next two years in SMUD territory under our

1 program. That's building to code all electric. Not only is it  
2 saving energy it's saving carbon.

3 The first couple, 2- to 300 homes are constructed.  
4 Sales have kept pace with expectations of whether gas was there  
5 or not. In our existing homes we have done over 800 heat pump  
6 water heaters in the last year, converted those customers from  
7 gas. And over 400 space heaters we've heard zero customer  
8 complaints on any of those measures. And I also feel that -- or  
9 know, you know, heat pump water heaters are a resiliency measure  
10 compared to on-demand gas water heating.

11 We talk about if the electricity goes out, like, what,  
12 we will just power our whole home with gas. Gas requires safety  
13 features to keep things from going wrong and those safety  
14 features are controlled by electricity. So I just want to put  
15 that on the record too.

16 Thank you for your work. A great program. Keep it  
17 up.

18 MS. BROWN: Carrie Brown, Resource Refocus.

19 MS. BROOK: Carrie, can you speak into the mic in  
20 front of you.

21 MS. BROWN: Yeah.

22 Nic, I was wondering if you know why you had more heat  
23 pump heaters than water heaters? Was that a customer decision  
24 or some site limitation?

25 MR. DUNFEE: Yeah. Those are customer decisions from

1 all I can gather.

2 MS. KUYKENDALL: Yeah. I would say locally just heat  
3 pumps for space heating have hit the market already, so it tends  
4 to be something that we get a lot of projects already coming to  
5 us with that heat pump for space heating. The water heater  
6 tends to be by default a natural gas tankless unless we really  
7 engage with them to switch that out, so.

8 MR. DUNFEE: And those numbers flush out across the  
9 state. In general, the state's at about five-percent  
10 penetration in heat pump space heating, about one-percent heat  
11 pump water heating.

12 MS. BEA: Is that like a lack of product available,  
13 not enough?

14 MR. DUNFEE: Not if you ask the manufacturers. Yeah,  
15 I think it's just education. It's just people becoming aware of  
16 the technology. I think education is really key in all of this,  
17 educating the public so they're aware of these technologies.

18 MS. BROOK: Thank you, thank you, thank you.

19 So I'm going to keep pushing us along.

20 Nic, that was great.

21 Thank you, all. That was very, very helpful.

22 (Applause.)

23 MS. BROOK: And I know I cut two questions off. I  
24 really encourage you to come back. I do think there is going to  
25 be relevancy to BUILD, at a minimum, this afternoon, so I hope

1 you do ask your questions, or if we have time after the next  
2 session, which is now. And we have Christine and Alison that  
3 are going to talk to us about prize concept for innovation.

4 Thanks.

5 MS. LABONTE: Good morning. Thank you. I'm Alison  
6 LaBonte. I'm with the CPUC as a supervisor in the Residential  
7 Energy Efficiency and Portfolio Approval.

8 And I wanted to take some time before I introduce our  
9 speaker just to refresh folks on the context for this idea of  
10 what the space is for a prize that's being considered in the  
11 staff proposal. Just quickly, AB 3232 has a goal of 40-percent  
12 GHG reduction from buildings' direct emissions; 75 percent of  
13 that is in residential buildings, and of that 80 percent is  
14 space and water heating.

15 So the SB 1477, which this proceeding was opened to  
16 address in the first phase rolling out, CPUC in consultation  
17 with the CEC, BUILD, and TECH pilots are intended to demonstrate  
18 ways and approaches to achieving those significant reductions.  
19 In particular, the TECH pilot -- and "TECH" stands for  
20 Technology and Equipment for Clean Heating -- is in the existing  
21 home space. Thirty million of the staff proposal is projected  
22 to go towards that, in particular midstream -- upstream and  
23 midstream efforts as well as two million towards prize,  
24 administration, and prize purse funds.

25 So it's my pleasure to be able to introduce Christine

1 Harada. Christine is president of IX Investments, a company  
2 that invests in the critical areas of human need, for example,  
3 renewable energy, affordable housing, gender equality,  
4 technology and waste reduction in food and agriculture.

5 Ms. Harada has over 20 years of success in leading  
6 government and management consulting organizations. She has an  
7 extensive experience in business strategy and translating that  
8 into operational excellence. Recently she was partner with  
9 Ridge Lane, LP, and is a fellow at the Los Angeles Clean Tech  
10 incubator.

11 Before we're turning to the private sector, Christine  
12 served as the federal chief sustainability officer for the Obama  
13 Administration. In this role she provided oversight for all  
14 sustainability-related initiatives across the federal  
15 government.

16 In energy fleet and accusations, making game-changing  
17 improvements that added to our nation's clean energy future.  
18 Prior to the White House role, Christine was acting chief of  
19 staff at the U.S. General Services Administration.

20 Christine holds multiple postgraduate degrees, ranging  
21 from finance and international studies to aeronautics and  
22 astronautics.

23 At IXPRIZE, Christine was a Bold Innovator. That's  
24 actually a title for a role at the IXPRIZE. And in this role,  
25 Christine designed an x price to combat air pollution, so we're

1 really fortunate to have Christine here.

2 Thank you for traveling here today from -- to present  
3 to us, your thoughts on the use of a prize and approaching some  
4 of the ambitious goals we're after.

5 MS. HARADA: Fantastic. Thank you so much for having  
6 me.

7 Beyond what -- just to build a little bit more on what  
8 Alison was just saying about the prize concept, I think this is  
9 a fantastic opportunity for us here in the state of California  
10 to help push innovations forward. Not that California is short  
11 at all on the innovation front, but I think this is anything and  
12 everything that we can do to help address the climate risk that  
13 we're having at hand, in my opinion, is all good.

14 Just a quick show of hands. How many of you are  
15 familiar with the prize concept or have experiences with prizes  
16 at all?

17 (Hands raise.)

18 MS. HARADA: Okay, this is handful -- oh, a lot more.  
19 Fantastic. That's good. Okay. So there is a great -- I have a  
20 couple of slides here that I'd like to talk through for those of  
21 us who may not be as familiar. Please obviously chime in as you  
22 all have questions, et cetera.

23 I think we do have some time set aside for after my  
24 four or five slides, to talk through some of your ideas and  
25 thoughts and questions around prizes and how we might be able to

1 best leverage that.

2           So, board. Green button. I have multiple engineering  
3 degrees, but I struggle with the pointer. This is just awful.

4           You're my antenna. Okay, great.

5           So there are a couple of things I want to make sure  
6 that I explore with you today. So what role do prizes actually  
7 play and what are some of the attributes of what might be  
8 defined in terms of a prize and what are some of examples of  
9 where we've actually used prizes in the government. And, last,  
10 how can we best leverage this for the CPUC and CEC's TECH  
11 program.

12           So the role of prizes, there are a couple of great  
13 examples in history that you all may be already aware of, and I  
14 have them here in the images. So in 1714 was probably the first  
15 recorded history of a prize actually being used when the British  
16 government, Parliament actually set out a prize for the person  
17 who could solve the longitudinal issue by developing the first  
18 marine chronometer. It was a huge prize purse at the time. And  
19 we successfully developed that -- or, rather, they successfully  
20 developed that in the 1714 timeframe. And that design did not  
21 change fundamentally speaking for hundreds of years.

22           And a second more recent example of that was the  
23 Charles Lindbergh flight from -- the transatlantic flight right  
24 from New York to Paris in 1927 for the first solo flight. And  
25 there are some really interesting things around how that changed

1 people's mindset around how we can approach solving these  
2 particular issues. And there's a lot of great history around  
3 how Charles Lindbergh redesigned his aircraft so that he could  
4 be able to do it. He had to plan out, you know, where he's  
5 going to go -- or how or if he's going to sleep -- he didn't.  
6 You know, how he is going to make sure that he's surviving by  
7 eating and drinking and of course making sure that he's able to  
8 make the flight itself. Tremendous advances also in guidance as  
9 well.

10           And so, you know, in more recent years we've seen  
11 organizations like XPRIIZE kind of reinvigorate the concept of  
12 prizes with the Ansari XPRIIZE in 2007 that was awarded, but that  
13 took 10 years to award for the first private space plan, which  
14 now of course has launched SpaceX, Virgin Galactic, and many  
15 other places. And you may see a number of aerospace-oriented  
16 examples in my stories. That's because I'm an aerospace  
17 engineer. I can't take me out of it.

18           Anyway, you know they help us -- I think what's really  
19 cool about prizes is they help us reach beyond the usual  
20 suspects. And I think many of us in this room here are probably  
21 the usual suspects when it comes to energy and policy, and  
22 walking that kind of -- all that great stuff. But I think that  
23 there is a tremendous amount of creative genius in this nation  
24 that we can harness and leverage against all these types of  
25 different issues, and so these are the kinds of things that we

1 are seeking or I think that this program can really help to  
2 encourage.

3           These slides will be made available online later  
4 today. I do have a couple of sources in super tiny font at the  
5 bottom, so if you guys like you can feel free to check them out.

6           So let's talk a little bit about the attributes,  
7 right. So a great grand challenge that was defined or a great  
8 example of one in the federal government is President Kennedy's  
9 let's go to the moon, the Moonshot Initiative, when he first  
10 announced it in 1962 and we landed on the moon 2500 days later.  
11 It's a fairly significant accomplishment. And so what are some  
12 of the attributes of prizes.

13           So they can, number one, have a major impact hopefully  
14 in addressing climate change and greenhouse gas reductions.

15           Number two, they are ambitious but achievable. Let's  
16 see, wait a minute. Can we really do that, and then you can  
17 start to see some of the people's wheels turning in their head.  
18 That's what a prize should do, I guess to a subscriber, if you  
19 will, on an emotional level. It should be -- which then ties  
20 into compelling and intrinsically motivating. And it needs to  
21 have a very Goldilocksy level of specificity and focus. It  
22 can't just be like 'We're going to solve climate change,'  
23 because there's so many ways you can approach that problem.

24           So in John F. Kennedy's case it was we're going to  
25 land a man on the moon and we're going to return him safely to

1 Earth. Right, so there's the three key things. With the space  
2 -- with the -- I'm sorry -- XPRIZE, it was the first private  
3 space plane, i.e., less than 10 percent of any kind of state  
4 funding to go a hundred kilometers above the ground and return  
5 people safely to Earth. That was the goal.

6 So the prizes can also obviously even help catalyze  
7 innovations. Right, again that launched an entire industry. It  
8 also spurred a number of regulatory changes with the FAA around  
9 commercial space transport. And of course now we've got an  
10 office that helps to address that. helps spur the formation of  
11 multidisciplinary teams. A lot of the folks who participated in  
12 that competition did not come from the traditional aerospace  
13 industry. They were not the Lockheed, Boeing, Northrop Grumman  
14 guys. They were the people who were the tinkers in the garage  
15 out in the Palm Desert trying to figure out how can I make this  
16 thing go up.

17 And it helps to inspire the next generation of  
18 scientists. And I don't know if you guys are familiar at all  
19 with a lot of any of their work, but if you like please check  
20 them out on their website. There's some fantastic examples  
21 across a whole slew of different areas, to include ocean  
22 exploration, oil spill cleanup. Back in the day they also did  
23 like a hundred-mile-per-gallon car. Obviously in the more  
24 recent days, the work that I did last year around developing a  
25 prize to combat air pollution and address the public health

1 effects of that, et cetera.

2 So what are some examples of prizes in government? We  
3 have -- you know in the Obama Administration that was a big  
4 effort that we undertook beginning around the 2010-2011  
5 timeframe that we want to really push forward on challenges.  
6 Take that idea and have a much more open government, a more  
7 participatory government so that we can collect the best of  
8 everybody.

9 There is a concept called Joy's Law which I find super  
10 fun. And Joy's Law says no matter who are, most of the smartest  
11 people work for someone else. And so, that being the case,  
12 you're usually going to be better off if you make it easier for  
13 people outside the boundaries of your organization to, A, know  
14 what problems to try and solve; and, B, how can they get  
15 involved. And so within the federal government we have -- we  
16 still have challenge.gov. And if you go to the website today  
17 you will see a number of challenges that are still out there.

18 Some other examples include a \$50,000 prize that was  
19 sponsored by the Federal Trade Commission in 2012 that led to a  
20 technology to block robocalls. None of us, I think, enjoy  
21 receiving robocalls. And so now the winner is now in business  
22 as a private company and they have I think -- they have blocked  
23 236 million calls from 530,000 robocallers as of June.

24 NASA has used these prizes to develop a number of new  
25 technologies. For example, more flexible astronaut gloves;

1 space elevators; unmanned aerial vehicles that are capable of  
2 exploring other planets; and Via, the HeroX offshoot, if you  
3 will, of the HeroX Prize Foundation. They developed the system  
4 for managing space poop. It's a very important problem. If we  
5 need to go to Mars, it's great that we can store food. We've  
6 got to do something with the other side of it, so how do we help  
7 manage that.

8 Right, so again super fun stuff. And it invites the  
9 imagination. I'm sure you guys are all thinking about how would  
10 I manage that.

11 Department of Energy, where Alison used to work, they  
12 had a Sunshot Catalyst program that put up over a million  
13 dollars in prizes to incubate cutting edge solar tech companies  
14 that work for discoveries, you know, spun out of its National  
15 Laboratories. They're trying to figure out how we can  
16 commercialize. A lot of the great stuff that the nerds in the  
17 National Labs helped to develop.

18 So these are just but some of the examples. There are  
19 some more nonscientifically-oriented agencies, a la GSA, my old  
20 agency, where we have a number of -- we formulated more in the  
21 form of a hackathon because we are focused on improving the  
22 customer experience. We have all this data about the federal  
23 government. So given that, how can you as a citizen help us  
24 with making better sense of it, making better use of it so that  
25 we can run our programs more efficiently, more effectively, et

1 cetera. And those are still going on today, so that can be  
2 applied, specifically in GSA's case around how do we help manage  
3 the federal real property portfolio.

4           The federal government has well over 343,000 buildings  
5 on the continental United States and outside the nation as well.  
6 So that being the case, I mean can you imagine how much we  
7 spend, how much greenhouse gas emissions that we have from that  
8 extensive property portfolio. So how do we develop the  
9 appropriate data collection/data analysis kind of mechanisms to  
10 be able to better manage that.

11           Okay. So I thought it might be helpful to talk  
12 through a little bit about just some questions. You know, so  
13 for example when really are prizes appropriate. There is a  
14 great deal of debate, a very healthy set of discussions if you  
15 will within the Obama Administration around is it a grant  
16 competition or should it be a prize competition. And, you know,  
17 for the most part a lot of the prize competitions ended up  
18 focusing more on the technology, the innovation that was going  
19 to be developed more so than what we see normally around the  
20 grant competitions.

21           And some things to watch out for. You know on the  
22 agency parts, the toughest part of a prize and when you're  
23 designing it is thinking through what the specific criteria  
24 should be, what does a prize need to achieve. And you need to  
25 really shift your mindset in thinking that through, because a

1 lot of us tend to think of, oh, we can make this marginal change  
2 here, we can make this marginal change here, and this other  
3 incremental change here and we have a better product. That's  
4 all fine and good, and I'm not going to say that we shouldn't be  
5 doing continuous improvement for product development or services  
6 development, et cetera, but the whole point of a prize is to  
7 completely incentivize and to recruit a whole different set of  
8 brains and perspectives at solving this particular problem.

9 So you know as it comes to the TECH program that's  
10 going to be implemented, we need to make sure that we're  
11 thinking very thoroughly about the problem statement or the  
12 victory conditions, if you will.

13 Sometimes what we experience in the federal  
14 government, sometimes we did it to size the prize purse big  
15 enough given the amount of challenges that we have. And also  
16 the -- you know sometimes they just hadn't really thought about  
17 what they would do after the competition, in the post award  
18 phase.

19 And so what we wanted to do with both the federal  
20 government as well as my experience at foundations like the  
21 XPRIZE is we want to make sure that not only is this just a one-  
22 time, fun thing, but then how do we make sure that we're further  
23 building out and supporting an industry or a capability behind  
24 that. So a lot of the efforts that followed on from my work at  
25 XPRIZE included, you know, recruiting investors, who were the

1 types of people that might want to come and help us build out  
2 this company. From an agency perspective, I think also this  
3 kind of ties into a lot of their procurement rules and officials  
4 as well in thinking through how do we help bolster and support  
5 these entrepreneurs, great thinkers in helping to address some  
6 of these issues without getting too buried under the acquisition  
7 regulations.

8           When I was at GSA I was also the chief acquisitions  
9 officer and I had the FAR, the Federal Acquisition Regulations,  
10 in my shop, and so I had some dangerous familiarity with what  
11 are the potential conditions that might work for prizes and what  
12 are some of the other conditions that we really need to look out  
13 for with respect to making sure that we're not just stifling  
14 that innovation.

15           So with that, maybe I will take a pause and see if we  
16 have questions or other discussions from the audience.

17           MS. RAYEM: We have a question from the WebEx from  
18 Alice Sung (phonetic): What is the difference between a prize  
19 program and a grant.

20           MS. HARADA: So that's an excellent question. That's  
21 something that needs to be figured out. So -- in a more nuanced  
22 way, rather than just like a black-and-white answer. So the  
23 grant programs tended to be much more -- in our experience  
24 tended to be a lot more earlier stage with respect to R and D  
25 type grants. We didn't find that they worked very well with

1 things like EPA grants for local neighborhood community type  
2 activities. And the prizes were something that we wanted to use  
3 when we were actually going to leapfrog the commercialization of  
4 a particular technology.

5 Yes.

6 MR. LUTZ: I really don't want to do this and I'm very  
7 disappointed with Martha for letting the prize concept go into  
8 this space. Water heating heat pumps have been -- they are  
9 perfectly adequate and have been commercially available for  
10 years. Space heating heat pumps that are perfectly adequate for  
11 California have been available for decades. It's just that in  
12 this space California is a parochial backwater. There is no  
13 need for technology improvements that manufacturers can't apply  
14 and find themselves very quickly. What they need is a market,  
15 they don't need a prize. And so I hate to be the wet sponge or  
16 something, but this is completely wrong. The \$2 million for the  
17 prize should be added to the \$5 million on the Quick Start and  
18 TECH Program.

19 MS. BROOK: You want to tell us who you are, Jim?

20 MR. LUTZ: What?

21 MS. BROOK: Can you tell us who you are? Sorry.

22 MR. LUTZ: Oh, Jim Lutz. I've doing hot water  
23 research for decades. Part of my first introduction to this was  
24 the Super-Efficient CASE Water Heating Appliance Initiative in  
25 the 2010-12 era. We were trying to get the gas utilities to

1 come up with a very efficient water heater. They said, sure,  
2 fine. Give us market, we'll build it. We don't have any  
3 problem building the product, we just need the market.

4 SoCalGas was real into it, but between the combination  
5 of the IOU and the utilities' requirements and the PUC  
6 requirements, they just never funded the program to get it  
7 started, so --

8 MS. LABONTE: Thank you, Jim.

9 MR. LUTZ: I'm, but --

10 MS. LABONTE: I'd like to respond --

11 MR. LUTZ: Yeah.

12 MS. LABONTE: -- or have the chance to respond and  
13 then bring in some other questions, ideas, concerns as well.  
14 That's part of the what are the concerns here.

15 So, Christine, I can respond?

16 MS. HARADA: Sure. Absolutely, please.

17 MS. LABONTE: So I wanted to say that a lot of the  
18 examples we have provided are in one part of the spectrum of the  
19 problems that a prize approach could be applied to. And that  
20 one part that we heard a lot of examples about was about the  
21 technology innovation. It doesn't necessarily have to be a  
22 prize -- that the problem that is determined to be the most  
23 appropriate for a prize to fit or be applied to is technology  
24 advancement. It could be that we're talking how do you deploy,  
25 scale that technology and enter it into the market space.

1           So I just wanted to help folks with the picture of  
2 there is a full spectrum of possible problems to which a prize  
3 can be applied.

4           MS. HARADA: And -- absolutely -- and I think also,  
5 you know, one of the things that I would encourage -- it's great  
6 feedback, by the way -- the tough -- in my experience usually  
7 people want to do the right thing, right, when it comes to  
8 greenhouse gas reductions or like implementing much more  
9 efficient heater systems, et cetera. The biggest issues comes  
10 down to how do we finance for it. And enhancing the financing  
11 mechanisms really helps your market. And so as a former  
12 engineer that has long been a frustration of mine when I was  
13 younger, around like: I don't understand, it's a far superior  
14 technology, why would anybody use anything different. But the  
15 bottom line is where distributors don't know about it, the  
16 installers aren't familiar with the technologies. The bankers,  
17 the financiers are really not into the technology because it's  
18 not the same round cookie that they have been selling for the  
19 past ten years. I sold chocolate chip, oatmeal raisin, and, you  
20 know, chocolate macadamia nut cookies. This is all I've done.  
21 You're telling me that this is a brownie. How am I supposed to  
22 sell a brownie. Right.

23           So a lot of this is also going to require not just,  
24 you know, other developments, whether it be in the requirements  
25 of technologies, et cetera, but thinking through our networks of

1 people who are willing and open to be able to try that out.

2 MS. LABONTE: So also if folks -- part of the intent  
3 with this time is for you to share what your concerns or what  
4 questions you have as far as the use of a prize in the building  
5 decarb space.

6 MS. MENTEN: Great. A good segue, and thank you.  
7 Beckie Menten, Center for Sustainable Energy.

8 I entered this room with the same skepticism, what we  
9 need is not further innovation, we need to remove barriers and  
10 throw money at the problem. But I've been sort of intrigued by  
11 some of the suggestions you have, but you're right, like off in  
12 the room talking over this stuff for the last five years, there  
13 might be something we're missing.

14 I'm a recovering bureaucrat. Government is not always  
15 great at administrating an innovation type program. I would be  
16 interested to hear from you what sort of guiding principles or  
17 perspective you might recommend agencies consider if we were to  
18 embark on some sort of innovative prize context. Like how are  
19 we going to get out of our own way and create the opportunity to  
20 have the true outside-of-this-room solutions to enter into the  
21 market.

22 MS. HARADA: So I have a very strong-formed hypothesis  
23 bordering on a belief that a lot of us can indeed come together  
24 to solve problems, a diversity of perspectives ends up resulting  
25 in a far better set of solutions.

1           And I think that, you know, my personal opinion, my  
2    comments, for what it's worth, would be it would be helpful if  
3    the agency could help foster networking events, right.  
4    Everybody and anybody who is interested in solving this problem,  
5    let's get it down -- let's boil it down in the plain English  
6    level and we invite not just the technologist, not just the  
7    policy people, we invite the financiers, and we invite college  
8    kids or whatever the case might be, because a lot of this comes  
9    down to who do I know that might think slightly differently from  
10   me so that they can apply their perspective to solving the  
11   problem. And then like, oh, my goodness, gracious, now we have  
12   actually something for real. Then thinking about how we take  
13   that up to the market, et cetera.

14           And so we see a lot of this in my space right now as  
15   well as in impacting investing or, you know, ESG, a great hot  
16   buzzword right now. A lot of the financiers in the United  
17   States seem to still struggle with the idea largely because  
18   they're trying to figure out 'How do I incorporate ESG into my  
19   investment allocation, decisions, and how do I think about it.'  
20   It's largely because they just don't know who to go talk to.  
21   How do I think about the environment as I'm making these  
22   investments in -- whether it be like a mutual fund, or whatever.  
23   There are some easy things, right? Like, you know, let's not  
24   invest in oil, let's not invest in guns. Okay, that's great.  
25   So that's easy. That's step one. I would call that the null

1 hypothesis. What can we do more beyond that.

2           And so one of the things that I think would be super  
3 value added from this prize perspective is we have a great, huge  
4 state, and to the extent that we can help cultivate and pull  
5 together people from different backgrounds. People who grew up  
6 in the Central Valley have a very different perspective on  
7 energy, energy savings, and where the energy sources are  
8 compared to those of us who grew up in L.A. It's also very  
9 different from San Francisco. And so to the extent that we can  
10 help garner more of those diverse perspectives together, in my  
11 personal opinion, I think the better the prize competition will  
12 be.

13           You're at least laying the groundwork for getting  
14 people to think in that slightly different kind of way to be  
15 able to help push forward.

16           MR. HAUBENSTOCK: Arthur Haubenstock. You mentioned  
17 commercialization, and I'm just wondering what in your mind has  
18 to be behind the prize to take a great idea through the valley  
19 of death and actually into full market deployment?

20           MS. HARADA: So I think that's a great question. And  
21 it really does kind of depend on the team as well as the  
22 emphasis of the prize. So, for example, in my prior experience  
23 it's been a lot of technologists. Engineers necessarily aren't  
24 the best marketers, we aren't the best financiers. And so help  
25 recognizing that there is that need to be able to help

1 complement the space to be able to help through the  
2 commercialization.

3           It would be also great if we could work together with  
4 some of the early financiers, whether it be Angel Investors or  
5 other VC type funds to say, hey, let's take a bet on these kinds  
6 of companies to help further with this commercialization. And  
7 that's an area where either the state can help through a  
8 publicity campaign or whatever the case might be, investor day,  
9 insert other appropriate example here, I think that would be a  
10 great way to help accelerate it.

11           MR. MADDOX: Good morning. Bruce Maddox with Arden  
12 Energy. Thank you for this presentation.

13           I'm always intrigued by the idea of bringing in  
14 thinkers who are not the usual suspects. As I imagine how this  
15 might work, I kind of immediately zero in on possibly an  
16 alternate filtering criterion, so I'm imagining that the prize  
17 would come at the end of the process after the innovators that  
18 have developed their solution demonstrated it. I'm also  
19 assuming that there are some also-rans who invest a lot of time  
20 and effort into this that don't win a prize. So that to me  
21 suggests that a prize kind of filters for entities who kind of  
22 have the wherewithal, the discretionary resources to kind of  
23 make a bet that they might win.

24           Is there anything about a prize design that might  
25 expand the talent pool to people who are not necessarily in that

1 camp?

2 MS. HARADA: Yes, absolutely. And actually most prize  
3 teams, teams that participate in prizes, they're very scrappy.  
4 They're not well resourced and they are just super passionate  
5 about the idea. And that certainly helps carry them through all  
6 the development stages, all the milestone pains, et cetera.

7 And, interestingly enough, it's been my experience, I  
8 don't know if there's data on this, but it's certainly been my  
9 experience that it is precisely because of those scrappy, under-  
10 resourced teams that they're able to think really creatively  
11 about the problem and the role that the prize generator -- or,  
12 you know, the organization can really help in playing is by  
13 attracting the investors or tracking other forms of capital to  
14 be able to help support them launch post prize effort.

15 MS. LABONTE: Before the next question I just wanted  
16 to insert I wanted to hear what you see as the common -- or what  
17 has been the frequent downside or pitfalls that agencies have  
18 run into. And since the Obama Administration launched the  
19 challenges.gov website there has been 870 prizes run by a  
20 hundred different agencies. Clearly from those we must see, you  
21 know, common -- where these prize ideas fail or weren't  
22 successful.

23 MS. HARADA: Yeah. The biggest contributor to that is  
24 not defining the criteria well enough and thinking through what  
25 are the fundamental requirements that we really need this thing

1 to accomplish. And, having done work in procurement, it's very  
2 similar for those who have actually worked in government  
3 procurement, it's this very similar thing as well. Like we  
4 think we want -- I want an iPhone, I need 600 iPhones for my  
5 people. And some procurements things, you know, are for  
6 securing common goods and things like that. That's reasonably  
7 easy to do.

8 But there's a lot of situations where if you are  
9 indeed trying to push forward an agenda around combatting  
10 climate change, reducing greenhouse gas emissions, that are  
11 really getting down to the first principle requirement. This  
12 thing -- you know maybe it's not just 600 iPhones, I need a way  
13 to be able to communicate with my workforce in an emergency  
14 situation, when the towers are down, and we can go out and  
15 coordinate a response. Well, then maybe your iPhone really  
16 isn't the best thing, right. So then what are some other  
17 communication methods, whether it be the tools or the contracts  
18 that we need to obtain with telecons or satellite providers --  
19 I'm making this up -- you know, might be.

20 I think that, you know, we will see tremendous  
21 benefits as well. So, for example, you know you only end up  
22 paying for the results. If nobody accomplishes the prize, then  
23 nobody wins the money, which is also kind of a bummer because  
24 you really want people to win the prize money.

25 You can also help to leverage that investment. That

1 can exceed the value of the prize purse, again to help with  
2 commercializing the technology and obviously also like changing  
3 people's views about what is and isn't possible. I mean,  
4 seriously, 20 years ago who would have ever thought that a  
5 private space plane would have been possible.

6 MS. LABONTE: Thanks.

7 The next question, please.

8 MR. SEVERANCE: Bruce Severance, Mitsubishi Electric.

9 I wanted to say I was intrigued by the idea of using a  
10 prize to broaden perspectives and solving some of the problems  
11 that we're faced with. And I can see some relevance to the TECH  
12 program.

13 Six weeks ago Mitsubishi Electric Corporation in Japan  
14 issued a release of an environmental vision initiative that  
15 included competition as one of the things that would broaden  
16 discussions and bring in other innovators into that  
17 conversation. I think this is very consistent with top staff,  
18 and Japan is thinking along those lines.

19 To me one of the key issues with heat pump integration  
20 is the grid harmonization piece. If we are going to do time-of-  
21 -use metering and really get utility rates aligned with carbon  
22 content on the grid, a lot of the older homes that we may want  
23 to electrify are leaky, don't necessarily have good shell  
24 performance, and so preheating those homes becomes an issue.  
25 And ways to load shift with HVAC seems to be limited in the time

1 span that it can cover. So in my mind one of the key pieces of  
2 resolving this is important because if we don't have time-of-use  
3 metering that aligns with space heating -- water heating is much  
4 easier to do where this is concerned, obviously it's kind of a  
5 no-brainer, but time-of-use metering relative to space heating  
6 is critical to get the return on investments to work out so that  
7 it can compete in this fuel-switching scenario. So there is  
8 some conflict between those things and there's a need for  
9 innovation.

10 And the first thing I thought of was, well, that's  
11 something. Grid harmonization is kind of the elephant in the  
12 room. I don't see a lot of people talking about that in the  
13 space heating arena. There's been a lot of brainstorming in our  
14 office about that and to me it seems like there is a lot of  
15 opportunity for innovation and maybe competition in that  
16 category, so I just wanted to make that comment.

17 MS. LABONTE: Thank you.

18 MR. SEVERANCE: You know I guess the question to go  
19 with that would be, you know, do you see -- what are some of the  
20 categories or what is your idea of what the criteria of a prize  
21 that applies to the TECH program specifically would be? You  
22 know, how would that be formulated? What kinds of problems  
23 would you want to address?

24 MS. LABONTE: Yeah. I just -- this is Alison -- I  
25 want to say that we are in the mode right now of hearing in what

1 the ideas -- I think Christine is right, that the first and  
2 fundamental problem to -- key to prize design is, one, picking  
3 the right problem. You have to have a problem that's going to  
4 have enough market space that draws the number of participants  
5 and the diversity of thought. So you've got to make it a clear  
6 that there is a market space associated with this problem when  
7 you put a prize out there to solve it.

8           And then, you know, it needs to be a problem that can  
9 be broken down into a fairly simple construct so that it's not a  
10 huge burden to new entrants to come to the table and help solve  
11 through that problem. If you have an extremely complex problem  
12 that can't be broken down, simply you're going to -- you're  
13 going to have that low participant space. And for the effort to  
14 put the prize out there, you may not have the benefit to cost as  
15 compared if you had done a traditional grant or procurement  
16 route. When you have an extremely complex problem and maybe  
17 only a couple solvers that would come to the table.

18           So I'm -- you know, those are some of the parameters  
19 that I think Christine and I have mentioned as far as a problem  
20 space that's appropriate for a prize and in this particular  
21 space where we're interested in commenters coming in to state  
22 where they see a good problem fit to prizes.

23           MR. SEVERANCE: Broadening the criteria may make it  
24 easier for people to do what you're saying. And I think like  
25 one -- one aspect of the solution to the problem I just created

1 would be something like offshore wind as opposed to utility site  
2 storage, you know, where it's going to be a source of power  
3 that's going to complement the grid with the renewable source  
4 that really greens the grid and eliminates the diurnal and  
5 seasonal variations in the carbon content that we see. So to me  
6 like looking at ways to solve those diurnal and seasonal  
7 variations in carbon content also solves this problem. And it  
8 really should be a broad perspective in how we can integrate  
9 these technologies and have minimal impact on grid management at  
10 the same time.

11 MS. LABONTE: Thank you.

12 MR. SEVERANCE: Yeah.

13 MS. LABONTE: The next question or comment.

14 MS. HAINES: Yeah. I was supposed to ask a question  
15 and I -- for the previous one, but I do have a question for you.  
16 I do think it's important that there is diversity of thought in  
17 this proceeding. I think that -- you know, by the way, my name  
18 is Deanna Haines. I'm with SoCalGas.

19 I think that it -- you know, this TECH prize concept  
20 may actually add some diversity of thought that isn't here.  
21 We're very much on an electrification is the single-bullet  
22 solution for everything. And we obviously need to have options,  
23 especially in the fire areas where resiliency is so important  
24 and battery storage is only going to get you a few hours and  
25 you're going to need days upon days of some type of isolated

1 power supply. It would be great if we could do a prize around  
2 that.

3 I also think that it's important that, you know, this  
4 integrated-system thinking comes into play. We are thinking too  
5 silent. I'm an engineer, so I get what you're saying. I think  
6 we're thinking too silent and there could be some solutions that  
7 we had never even thought about, if we could get diversity of  
8 thought into this process. So I really like the concept behind  
9 what you're proposing.

10 On the previous presenter, and I apologize that you're  
11 up here and I'm asking a question, but we ran out of time, I'd  
12 like to know what the income levels were of the homes that were  
13 electrified. You know, what kind of income levels those folks  
14 were at. And I think that's important to understand, you know,  
15 who's taking advantage of the incentives. And if you have --

16 MS. BROOK: I don't have the answer, so we can -- we  
17 can get the -- we can try to find those folks at lunch, but the  
18 most important thing I think is that you asked the question and  
19 we can ask PG&E and Sonoma to put the answers in the docket.  
20 That would be --

21 MS. HAINES: That'd be great. And then, and I'm sure  
22 you probably don't know the answer to this, though, if you had  
23 the dual-fuel homes, not have to jump through the hoops of  
24 adding electrical conduit and wiring, and instead do some other  
25 energy efficiency -- higher energy-efficiency appliances,

1 obviously higher energy-efficiency anything, because we know  
2 that energy efficiency is our number one defense and number one  
3 reduction tool that we have, would we get more -- you know,  
4 people taking advantage of the incentives and maybe make up for  
5 getting higher greenhouse gas reduction by just having more  
6 people take advantage of the incentives for higher efficiency.  
7 That's another one.

8 MS. LABONTE: And last two questions from the folks in  
9 the room and then, depending on time, we may get on the webinar.

10 MR. COLVIN: Hi. Michael Colvin again from the  
11 Environmental Defense Fund. First of all, fantastic  
12 presentation and it's really thought provoking, so thank you so  
13 much.

14 I think my comment back to Alison and Martha, and I'd  
15 love to hear your thoughts as well, Christine, is what is the  
16 goal of issuing a prize here that we couldn't have already  
17 accomplished, say, through an EPIC grant or through some of the  
18 other traditional research that we have, especially in the  
19 confines of the TECH program where we already have a lot of the  
20 technology sort of figured out and we've already done a lot of  
21 the demonstrations?

22 Now I agree with you in your presentation that, you  
23 know, a prize could bring new interesting things together, and -  
24 - but I'm not exactly sure what it is that we're trying to solve  
25 that couldn't be already done, you know, that -- you know,

1 what's the breakthrough that's already there when we already  
2 have a lot of the technology sort of ready to be deployed. And  
3 so that's sort of the first major thing that I would get sort of  
4 as feedback.

5           The second is what are we trying to get done on the  
6 time scale that we're thinking about? And as we're -- the  
7 assumption that we're going into with all of this, I guess is  
8 the question, is we're trying to figure out how do we  
9 decarbonize our homes and decarbonize our buildings as quickly  
10 as we can. It seems like the most cost-effective way to do that  
11 from the Energy Commission's research is to electrify. There  
12 are a lot of assets in the ground that would be abandoned if  
13 that were to happen at a mass, mass scale. And so if we're  
14 thinking about within the confines of this program of, well, if  
15 electrification is the best way to do this, we need to think  
16 about that sort of extra cost of all those gas assets that are  
17 in the ground. And if we're thinking about the scope of a prize  
18 and trying to think that part of the ultimate goal is to be  
19 carbonized, maybe part of the conversation of the prize should  
20 be going, well, are there other ways other than electrification  
21 that could get us to the same place.

22           I'm not advocating that necessarily, but I am sort of  
23 wanting to say, look, if the prize is an idea that you guys  
24 really want to go after, I'm not sure it's the most appropriate,  
25 but if it is something, then I think the ultimate criterion

1 should be how do we decarbonize our buildings at the least  
2 societal cost especially thinking about the already-made  
3 investments that are in the ground. And so if you can think  
4 about, well, are there breakthroughs in either you have cleaner  
5 gas fuel substitutes in hydrogen, you know, technology  
6 deployments, or in other ways of thinking about those assets  
7 that might be another factor you will want to consider.

8 So thank you so much for your time.

9 MS. HARADA: Let me just offer up a quick comment or  
10 just a response to that, if I may. Not that I have any specific  
11 ideas, but just a different way of thinking or a way to think  
12 about it.

13 We're all very deeply ensconced in this topic in this  
14 room. And I'm reminded of times when I try to tell my mom, my  
15 mom is not the most technically sophisticated person. I don't  
16 know about your guys' mothers, but mine is not. So as I think  
17 about how would I describe what do we want to do in this to my  
18 mother, it would be: Hey, mom, I'm going to take our 1950's era  
19 home and like make it -- make our total energy bill \$10 a month  
20 and we have all the light and all the heat that we need.

21 Right, at a fundamental level that is what we're  
22 trying to solve for at, oh, by the way, zero emissions -- or  
23 maybe negative emissions, right, if we can like figure out a way  
24 to suck the carbon dioxide out of the air and process it into  
25 something more useful for us. So now it just opens up all sorts

1 of different things. It could be heating and venting. It could  
2 be electrification. It could be like harvesting with gas. It  
3 could be other chemicals. It could be, you know, inspiring  
4 other green roof type things. I'm totally making this up, but  
5 now you've got maybe teenagers thinking crazy thoughts, like,  
6 oh, that's kind of George Jetson. How about this, wouldn't it  
7 be neat if we could figure out a robot that might be able to do  
8 that. I'm making this up, but that's kind how I would think  
9 about crafting the requirements of the prize, is explaining it  
10 to somebody, like the to my mother test.

11 MS. LABONTE: Another thing to maybe look at is some  
12 of the Sunshot examples. So regarding the timing, they had a  
13 race to seven-day solar. And I mean that was designed around  
14 we've got to get scale, we've got to think differently as far as  
15 rolling this out in significant deployment levels.

16 The counterpoint as far as ideas for achieving these  
17 aggressive decarbonization goals, stepping back and outside of  
18 the domain of the BUILD and TECH, that's -- you can even look at  
19 Sunshot, one of the earlier catalyst ideas that -- examples that  
20 Christine mentioned, that was basically an ideation prize. What  
21 are the entities out there, entrepreneurs that want to propose a  
22 business -- or a business around solving that bigger-picture  
23 problem, and then bring ideas in that way.

24 I think that it's really important to think about what  
25 you may not be considering when you design a prize, if you don't

1 have the appropriate expertise onboard you may not actually get  
2 a solution that's relevant to the overall market. So if you  
3 don't design that criteria correctly, you could bring in a  
4 solution that kind of flops when you're asking customers and  
5 markets to pick up that idea. So that's a caution or a pitfall  
6 to watch out for.

7           But say you're successful as far as how is this  
8 different than a CEC EPIC grant, if -- you mention we have to  
9 get a lot rolled out in significant scale, the difference I  
10 think with a prize is an opportunity to amplify. There's other  
11 corollary benefits to a prize such as building public awareness,  
12 building a momentum around the problem and the desire and the  
13 value proposition of should the problem be possible and  
14 achievable to solve. Now you've got a cadre from your, you  
15 know, upstream suppliers all the way down to the adopters, the  
16 homeowners in the market that are sort of following along with  
17 the excitement of a competition that they may -- they may end up  
18 realizing through some of these corollary benefits, some  
19 differences or added value beyond what you would see in an EPIC  
20 grant.

21           Last question.

22           MS. OSMAN: My name is Ayat Osman, with the Public  
23 Advocates Office.

24           I guess my question is what is the question that we're  
25 trying to solve with prize or grant? Is it we're trying to

1 create the market for these technologies that -- for space and  
2 water heating? Or is that we want to electrify the home? And  
3 then we're talking about the cost-effectiveness in retrofit,  
4 which doesn't make sense from the cost perspective.

5 As some of my colleagues said, these technologies have  
6 a market -- sorry. They are not emerging technologies, they are  
7 proven technologies. So we don't need per se to demonstrate or  
8 show that these technologies create the savings in greenhouse  
9 gases and emissions and energy usage. But we need to prove that  
10 these technologies provide the comfort level that the  
11 technologies that customers used to have. And in that sense, to  
12 me, this program deals more with customer acceptance and the  
13 lack of course of workforce for installing and maintaining the  
14 systems; and also getting to the correct type of heat pumps  
15 where we want ones with low-fluorinated carbon -- gases, and  
16 those are not available in the U.S. right now. You can find  
17 them in Japan and maybe some European countries.

18 So there are lots of hurdles or barriers to get us to  
19 where we would like to be in terms of reducing greenhouse gases,  
20 but the question is how to use the limited funds that we have in  
21 a cost-effective way. Thanks.

22 MS. LABONTE: Yeah. So I will say this staff proposal  
23 has a TECH program budget of 30 million to implement should the  
24 staff proposal carry forward. It basically suggests an  
25 implementer responds to an RFP with their construct of what is

1 the other 28 million to do, what would a prize do at two  
2 million.

3 The important point is that prizes aren't appropriate  
4 for every problem, so an implementer can look at all the  
5 different barrier spaces. And someone that's, you know, forward  
6 thinking may bring in what is their focus group, what are the  
7 key barriers here, what's going to have the biggest impact when  
8 solving each of those barriers, then make that fit or  
9 optimization to some of the key aspects that are appropriate for  
10 a prize. You need to have a strong market opportunity or clear  
11 market failure associated with it. You would bring its simple -  
12 - you could break it into a simple enough problem that you could  
13 bring new innovators in to solve that problem. So we're not  
14 actually -- we're intentionally -- or the staff -- I guided or  
15 suggested don't say what the problem is right now that's most  
16 appropriate fit because it requires a significant amount of  
17 focused thinking around what are the barriers out there, and  
18 then deciding which one is the best fit for a prize, and the 28  
19 million does the other area.

20 MS. HARADA: Yeah. Just to build on that point a  
21 little bit more, the thinking through the prize concept and how  
22 we're going to be different is it takes a lot of work. It is  
23 not just a, hey, we're going to do this and magically it will  
24 come to us. It does require a significant amount of research of  
25 what is and isn't doable, what is an ambitious but achievable

1 kind of thing, and so thinking that through does take a fair  
2 amount of effort and intellect and of course obviously  
3 engagement as well.

4           But if I can go back to one of my -- that, my favorite  
5 example, the NASA space poop prize concept, I'm sure space poop  
6 has never been mentioned at this proceeding and will never be  
7 again, but the United States, we have been going to space since  
8 the 1960s, right? So we've been doing this now for well over 50  
9 years. We kind have a solution for that. It works, it's  
10 probably evolved a little bit over time, but what the challenge  
11 did was it help inspire a couple of things.

12           Number one, it helped inspire an entire new generation  
13 of citizens around the NASA missions, right. So NASA had been  
14 struggling for years and we still kind of are, do we go back to  
15 the moon, do we go to Mars; what's the purpose for existing, is  
16 it climate change, science, earth sciences, blah-blah-blah, and  
17 it helps with citizen engagement around NASA's core mission.

18           Citizen engagement eventually translates into budget  
19 for NASA, right? Because your constituents, for those of you  
20 who worked on the Hill, the constituents are like, what are we  
21 doing with this, how come we're not going to Mars, we've got  
22 this really cool challenge and we just did this. So that turns  
23 into popular support for those kinds of programs. And in an  
24 agency where many will and have argued we don't need to be doing  
25 that, we've got all these other problems we're going to be

1 solving for like justice reform, immigration reform, whatever  
2 the case might be, why do we need to be sending a man to Mars,  
3 of all places. We've already sent Rovers, why do we need to  
4 send a human being, right? So it helps to not only excite the  
5 population, it also helps provide additional funding and a  
6 rationale and a reason for them to continue to push forward on  
7 that mission.

8           It's not that NASA has any shortage of potential  
9 missions that they could take on. You've seen Juno go into  
10 Jupiter. Cassini keeps on going into outer space. You know we  
11 want to talk about geo sciences and looking at climate change  
12 effects and things of that nature. And so what are the things  
13 that we can really excite the populace with in a way that might  
14 be slightly less politically, you know, controversial/doable to  
15 help advance their agency.

16           MS. BROOK: Thank you so much.

17           We're going to return from lunch at 12:55 and we're  
18 looking forward to seeing you. Thanks.

19           (Applause. Luncheon recess taken from 11:56 a.m. to 1:01  
20 p.m.)

21           MS. BROOK: Rory has some announcements, then we'll  
22 get going.

23           MR. COX: Hey, folks, so I just have one quick  
24 announcement which is that the presentations from today will be  
25 put up on our website and the URL is: [PUC.gov/buildingdecarb](http://PUC.gov/buildingdecarb).

1 So did everyone hear that? Athena.

2 So, again, all the presentations from today will be on  
3 the website: CPUC.ca.gov/buildingcarb. They're not all there  
4 yet but they will be by the end of the day tomorrow, so -- so  
5 that's where you can find them.

6 MS. BROOK: Hey, Rory.

7 All right. Thank you for coming back after lunch. So  
8 basically we're going to spend the next few hours going through  
9 the Joint Staff Proposal on 1477. And we have broken this into  
10 sections on the Pilot Guidelines and then the TECH program and  
11 the BUILD program. And we're going to allow for questions and  
12 comments and discussion at each of those stages, so. And I'm  
13 going to try and help keep us on schedule.

14 So I'm going to talk about the Pilot Guideline  
15 parameters of both BUILD and TECH as presented in the Staff  
16 Proposal.

17 As you know, we have 50 million a year for four years,  
18 or 200 million total in our 1477 program. And the money is  
19 coming from the cap-and-trade revenues from gas corporations in  
20 the state as collected and overseen by the California Air  
21 Resources Board.

22 The administrators of the program must comply with the  
23 cap-and-trade regulation in terms of annual reporting to the Air  
24 Resources Board on the use of the funds and expected GHG  
25 emissions reductions.

1           So this is the Joint Staff Proposal Annual Program  
2 Budget where 40 percent would go to BUILD for new residential  
3 construction and 60 percent would go to TECH for clean heating  
4 technologies in existing residential buildings. So 20 million a  
5 year for BUILD and 30 million a year for TECH.

6           And then there is an obligation in 1477 that 30  
7 percent of BUILD gets allocated to low-income residences. And  
8 so we do have six million recommended as a dedicated funding for  
9 low-income program costs in BUILD. And we're proposing ten-  
10 percent administrative costs for BUILD.

11           For TECH we have 30 million a year recommended; 23  
12 million for program costs. That would include program  
13 administration. A suggestion for five million for cook start  
14 grants and the two million prize program we heard about the  
15 potential for this morning. And then both programs will be  
16 evaluated together under a two-million-a-year evaluation effort.

17           Clean heating technologies is a focus of SB 1477.  
18 Electric space and water heat pumps, solar hot water with  
19 electric backup, heat pump dryers, and induction cooktops. We  
20 probably could consider other things, but we would need to know  
21 about them and understand how they fit into the scope of clean  
22 heating technologies.

23           The guiding principles that we are recommending for  
24 the 1477 program: Equity in terms of not just the dedicated 30  
25 percent for BUILD but for both programs, really trying to find

1 equitable solutions for all aspects of the residential market.  
2 You really want to pilot a path to carbon neutrality. We now  
3 have a governor executive order on the books that really gives  
4 California the ambitious goal of reaching carbon neutrality in  
5 the state economy wide. So everything that we can do to pilot  
6 how we would do this in residential buildings in this program  
7 would, we think, be consistent with that.

8           Really looking and encouraging regulatory simplicity  
9 and streamlining processes wherever possible. We want to be  
10 transparent about our objectives and the strategies that we use  
11 to meet those objectives. We really believe in our gut that  
12 it's going to take, you know, a really significant market  
13 transformation effort to -- just as we heard this morning -- to  
14 get consumers that live in homes and multi-family dwellings to  
15 see the benefits of electric equipment where they may have  
16 traditionally used natural gas and other solutions that are low  
17 carbon, have low-carbon outcomes. And that's not just  
18 consumers. It's all the way -- every aspect of the market and  
19 value chain and supply chain in terms of getting equipment and  
20 technology solutions into the state and into buildings and used  
21 by people.

22           So this is -- we are considering this a pilot program,  
23 so lessons learned will be a key deliverable and a key way to  
24 make sure that we're making the right recommendations after the  
25 program period to scale residential building decarbonization.

1 And you know the data reporting is critical to that in terms of  
2 tracking and reporting the progress from these programs.

3 And then you know a serious look at cost-effectiveness  
4 in terms of can the program scale in terms of not just the costs  
5 of the program but the costs to the consumers adopting these  
6 technologies. So that's a key principle in our program  
7 proposal.

8 So the requirements of the legislation are that we --  
9 we track the costs per metric ton of avoided greenhouse gas  
10 emissions and that we estimate and track the annual and lifetime  
11 utility bill savings from the participants. We want to keep  
12 track of the number of low-emission systems installed. That's a  
13 direct requirement of the BUILD program. And then understand  
14 and track the changes in market share for the eligible  
15 technologies in the TECH program.

16 Our cap-and-trade funding requirements are that the  
17 total avoided emissions -- wait a second. Oh, so just we're  
18 going to track the total avoided emissions from each year's  
19 expenses and track the total expenditures and itemize the  
20 administrative and outreach expenses.

21 So we have -- we're trying to improve energy and  
22 housing affordability, which, you know, is I think always a  
23 broader goal that we have on our efficiency programs but in this  
24 case it's really important that -- to get market transformation  
25 to happen and to get the scale of a building decarb program to

1 happen that we see improvements in affordability in terms of  
2 fuel substitution in the state going from -- you know, there's  
3 positive outcomes for consumers that are participating in the  
4 program.

5 We're -- we have requirements in our program design,  
6 our proposed program design that no incentive payments are made  
7 if the estimated bill savings will increase. And so that's a  
8 real constraint that we're going to have to track and discuss  
9 with you and others as we go forward.

10 And then we're, you know, proposing to track the full  
11 lifetime cost to end-users, the first cost of the equipment and  
12 installation and ongoing maintenance that are costs as well as  
13 the ongoing bill savings over time.

14 And then other, in terms of the benefits of market  
15 transformation, the other benefits that would come with building  
16 decarbonization efforts that aren't directly related to emission  
17 reduction.

18 So the target market is, as described in 1477, it's  
19 both new construction and retrofit of residential buildings.  
20 The markets that we are -- must address, you know, are broader  
21 than just the built environment but also all of the contracting  
22 and the appliance and equipment manufacturing and distribution  
23 that's required to deliver and install and successfully operate  
24 the equipment that we'll be incenting.

25 So the TECH target audiences are definitely including

1 upstream and midstream market actors. And we have a discussion  
2 on supply chain thinking and methodology as critical to a  
3 successful TECH program.

4 So we are targeting for the BUILD program, and you  
5 will hear about more of this in a bit, that we focus on all-  
6 electric construction and for retrofits installing heat pump  
7 heating and air conditioning where the cooling load is high.

8 So you might think even though it's described as clean  
9 heating technologies, there are also emission and efficiency  
10 benefits of high-performance heat pump technologies that are  
11 replacing traditional air conditioners. So we do expect to  
12 count and track those benefits that come from cooling in the  
13 state.

14 And we definitely are not limiting the fuel  
15 substitution to -- from natural gas to electricity but in areas  
16 of the state where other fuel is used, like propane or oil for  
17 space and water heating, we certainly see the emission-reduction  
18 potential and probably cost-effective potential of replacing  
19 that with high efficiency electric equipment.

20 And then of course more traditional fuel substitution.  
21 Gas furnaces getting replaced with -- and water heaters getting  
22 replaced with high-efficiency electric technologies is an  
23 obvious focus.

24 We would love to see proposals in the TECH program  
25 that really focus on the benefits of low-income retrofits and

1 not just the direct GHG benefits but all the co-benefits that  
2 would come with focusing on low-income retrofits that are low  
3 carbon. And we want your help figuring out if it's possible to  
4 incent the TECH program in ways that cover any incremental  
5 installations costs from that fuel substitution. And we want  
6 your best ideas about how to do that.

7 We're targeting evaluation budget of four percent of  
8 the total program costs. That turns out to be two million a  
9 year. Part of our streamlining of the processes, we would like  
10 to pick one evaluator for both the BUILD and the TECH program.  
11 Expected to be a competitive solicitation. The PUC will also,  
12 as recommended by stakeholders, form a project coordination  
13 group that helps -- helps us track and discuss ongoing issues  
14 with the programs. The evaluation is based on the metrics for  
15 program impact and process. So I think basically we're saying  
16 an impact evaluation and a process evaluation. Got it. And  
17 then stakeholder review workshops are also planned as part of  
18 the evaluation effort.

19 Coordination and scalability. So we want to leverage,  
20 combine, and interact with other energy programs. And as --  
21 especially when we start talking about the specific BUILD and  
22 TECH programs, it's going to be obvious that we need co-funding  
23 and leveraging of other -- of other funding mechanisms to the  
24 greatest extent possible. So it's not just for simplicity and  
25 streamlining of program delivery. It's really to get the right

1 amount of money applied. So this is an example of the Sonoma  
2 and PG&E partnership with Bay Area Air Quality Management  
3 District, and that co-funding, that has enabled very substantial  
4 incentives for the fire rebuild program. We would really love  
5 to see that same type of partnership, to really make BUILD and  
6 TECH successful.

7 I think that -- hopefully in the Staff Proposal it was  
8 clear that we really are hoping that BUILD and TECH inform our  
9 long-term building decarbonization policy framework. We think  
10 the most powerful part of the proceeding is going to be that  
11 larger building decarbonization policy framework, and so  
12 anything that we can do in both planning the design of the  
13 programs and in evaluating the programs that will inform that  
14 bigger policy framework, I think will be to the state's  
15 advantage, and we hope you help us do that.

16 I think part of that is demonstrating that the program  
17 designs as launched and implemented can scale. And as you will  
18 see very quickly, if you haven't already from the proposal, we  
19 have almost zero -- we do not have enough money to do this,  
20 right. So we really have to be thoughtful about designing a  
21 building decarbonization set of programs that are really  
22 designed to scale more than they're designed to achieve great  
23 things on their own because we don't have a lot of money. I  
24 mean 50 million a year to do what we want to do is really  
25 limiting. And so not just the combining and the co-funding but

1 on purpose thinking about this as pilot that we'll need to scale  
2 with significantly more money in the future is critical to what  
3 we want your help doing.

4 And then hopefully we get some really good efforts  
5 that target the expanse of market transformation that we'll need  
6 to be successful.

7 So process wise, we want you to submit comments on the  
8 proposal and anything you hear today by August 13th. And you  
9 know the name of the proceeding. It's here. You will get these  
10 slides later.

11 And do they have to do both dockets or is it eenie  
12 meenie minney mo? Or is it always yours and sometimes ours? I  
13 don't know.

14 MR. COX: I think it's always yours.

15 MS. BROOK: That's what I thought, so go do it at the  
16 PUC. And if you want to wave hello to us at the Energy  
17 Commission docket, you can do that too.

18 Okay, that sounds good to me.

19 All right. Do we have any questions on that? Let's  
20 start with Reem -- come on up, Bruce -- but Reem's going to take  
21 one from the --

22 MS. RAYEM: From the WebEx: In looking at the cost  
23 per metric ton of CO2, are you going to be looking at one year  
24 or a lifetime? And if a lifetime, what scale? And are you  
25 assuming the state's goals for renewables on the grid?

1           MR. COX: Okay. So we're proposing a lifetime of  
2 savings and that's probably not an actual lifetime but it's  
3 probably like a 30-year assumed life. And maybe it will be 15  
4 years, depending on if it's a TECH technology that's going to  
5 get replaced or we might also assume that it will be replaced  
6 with the same type and then we would extend it to 30. And BUILD  
7 will use 30 -- that's what we do in the builder standards.

8           We'll probably do the same thing we do in the building  
9 standards in terms of taking a net present value of those 30  
10 years. So this year's savings will be valued a little bit more  
11 than the last year of that 30-year time series, but we'll look  
12 at 30 years. I think when you do the math it turns out that  
13 that's where -- that's why I'm not trying to complain because  
14 I'm super excited by this program, but that's why I'm worried  
15 that we don't have a lot of money, because we won't be paying a  
16 lot in terms of the price of carbon for the 30 years of  
17 emissions reductions we will achieve under this program, unless  
18 we have almost zero participation.

19           So we are counting all of them -- we are definitely  
20 counting the changes to the grid, so just like we do in the  
21 building standards we look at how the electricity emissions  
22 changes over time and we'll probably also do a net present value  
23 of calculation for those emissions, so it will look like one  
24 year's of emissions but it will be based on how we expect the  
25 grid to change over the next 30 years.

1 I don't think that's on. The first one after lunch, I  
2 guess I turned it off.

3 MR. MADDOX: Here's the button. Thank you. Bruce  
4 Maddox with Arden Energy. Two quick questions, I think.

5 The first one is whether the intended beneficiaries of  
6 this program are limited to IOU customers or whether it's  
7 intended for kind of all California households.

8 And the second question, you're looking at the metrics  
9 particularly around things like utility bill impacts. It  
10 implies to me that there is some tracking of actual  
11 installations in the customer's home, which kind of implies a  
12 downstream program. Would those metrics only apply to like the  
13 downstream portion of a program or is the idea that any upstream  
14 interventions would have some kind of chain of custody tracking  
15 so that everything gets tracked down to the installed house?

16 MS. BROOK: I think that's -- the second, let's do the  
17 second one first. You'll have to remind me what the first one  
18 is -- no, I'm kidding.

19 You should tell us about the burdens or opportunities  
20 that your question -- in your comments, right. So -- so I don't  
21 know how we would do that chain of custody. It seems super  
22 complicated to me. But if -- but you know the intent. The  
23 intent is to understand that every activity that we have is  
24 going to actually benefit the consumer in the bill, so it might  
25 just be that we say, you know, we're pretty confident that if

1 you have a 4x efficiency on the upstream side of that piece of  
2 equipment you're going to get bill savings at the end, or we  
3 might also -- you guys will propose us because of TECH will be a  
4 third-party proposal that you figure it out, this component you  
5 can actually track, the other ones you might have to make  
6 assumptions about.

7 MR. MADDOX: Okay.

8 MS. BROOK: Now the first one I did actually forget,  
9 so you have to...

10 MR. MADDOX: So the first one is whether the intended  
11 beneficiaries are all California or --

12 MS. BROOK: Oh, yeah, yeah. So statewide.

13 MR. MADDOX: Statewide?

14 MS. BROOK: And we think that we're allowed to do that  
15 because of the way the cap-and-trade dollars work where it's  
16 about emission reductions, it's not about a locational emission  
17 reduction.

18 MR. MADDOX: Great. Thank you.

19 MR. SEVERANCE: So Bruce Mass (phonetic) and I started  
20 a brainstorm several months back about nine months ago and, you  
21 know, the question I have is if we told you that we think we  
22 have a model that would pay for itself, require no state funds,  
23 and fully electrify certain segments of the market and  
24 specifically targeted low-income family first, you'd probably  
25 really like that, right?

1 MS. BROOK: Um-hum.

2 MR. SEVERANCE: So we think we have that.

3 MS. BROOK: Okay.

4 MR. SEVERANCE: And it's an inclusive finance model.  
5 There's been pilots in the east that Holmes Hummel designed and  
6 they're achieving 40- to 90-percent acceptance rates in the  
7 rental and LMI markets in very low-income areas. And the whole  
8 model is based on the notion of qualifying a property as having  
9 a high return on investment relative to the cost of improvements  
10 and using a residential ESCO like model where that residential  
11 ESCO would assume the risk of making those improvements and pay  
12 itself back based on the energy savings. So there's no money  
13 down, there's no loan qualification, the renter doesn't have to  
14 pay anything. The landlord says yes because his property is  
15 being improved for free based on the energy savings return. The  
16 renter is guaranteed an immediate 10- to 20-percent reduction in  
17 their utility bill. And the balance of the energy savings are  
18 used to either pay back the on bill tariff -- on bill or through  
19 a separate entity, but it would have to be tied to a utility  
20 service in some way.

21 So if we were to use that model, and the whole  
22 conversation started with how do we get from 10,000 houses a  
23 year with energy upgrade and go big, because we really have to  
24 do 500,000 homes a year to do ten million in the next 20, and  
25 it's going to take a few years to scale up and get the boots on

1 the ground all of that.

2 MS. BROOK: Um-hum, um-hum.

3 MR. SEVERANCE: So the bottom line is this model could  
4 actually achieve that for the first ten years. We could  
5 actually get up to 500,000 homes a year and have all of the TECH  
6 funds that are on the table used for wrap-around services to do  
7 -- make those homes energy ready, --

8 MS. BROOK: Okay. Um-hum.

9 MR. SEVERANCE: -- run circuits, and things like that.  
10 Anything that has a return on investment can be handled through  
11 the inclusive finance model.

12 MS. BROOK: Okay. Are you asking me a question or are  
13 you pitching your proposal?

14 MR. SEVERANCE: Well, I'm -- I'm pitching a proposal.  
15 I'm using the microphone to grandstand a little bit, --

16 MS. BROOK: Okay, okay.

17 MR. SEVERANCE: -- so forgive me for that.

18 MS. BROOK: Okay.

19 MR. SEVERANCE: But do you see dovetails between that  
20 model and this program? Do you see this program as the TECH  
21 program as lending itself to being a demonstration ground for --

22 MS. BROOK: Yeah.

23 MR. SEVERANCE: -- inclusive finance --

24 MS. BROOK: Absolutely.

25 MR. SEVERANCE: And -- and the funds flexible enough

1 to pay for, you know, circuit upgrades, for example, --

2 MS. BROOK: Yes.

3 MR. SEVERANCE: -- to make the homes energy ready? If  
4 the specific unit can't be fully electrified through the model,  
5 it could at least be made energy ready. Because this model  
6 requires ROI on whatever the ESCO invests, otherwise their risk  
7 factor goes up. So if that flexibility could be built into it,  
8 I think this is a way to --

9 MS. BROOK: Okay.

10 MR. SEVERANCE: -- leverage the dollars that you have  
11 that you're saying, you know, --

12 MS. BROOK: Yeah.

13 MR. SEVERANCE: -- you literally have enough to do  
14 2500 houses if you were to fully subsidize those.

15 MS. BROOK: Um-hum, um-hum.

16 MR. SEVERANCE: So if we can do, you know, 500,000  
17 houses --

18 MS. BROOK: Right, right. Yeah.

19 MR. SEVERANCE: -- and leverage the dollars, I -- you  
20 know, and there's flexibility in the program to accommodate  
21 that, --

22 MS. BROOK: Okay.

23 MR. SEVERANCE: -- it would be exciting.

24 MS. BROOK: So I would encourage you to look at our  
25 proposal and provide comments into the docket where you think

1 that that flexibility needs to be clarified. Okay.

2 MR. SEVERANCE: Thank you.

3 MS. BROOK: Okay. Thanks.

4 MR. SWITALSKI: Hello. Good afternoon. Jon  
5 Switalski, Californians for Balanced Energy Solutions.

6 In previous workshops and venues we've been somewhat  
7 critical of the process and nature in terms of equity, access,  
8 and considerable issues of affordability, and so I just want to  
9 focus my questions on that specific topic as it relates to this  
10 program --

11 MS. BROOK: Okay.

12 MR. SWITALSKI: -- and your presentation.

13 You mentioned that one of the guiding principles is  
14 equity. And equity can mean very different things to different  
15 people.

16 MS. BROOK: Right.

17 MR. SWITALSKI: So I'm just as a baseline curious as  
18 to how you are defining equity as one of the base principles.

19 MS. BROOK: Yeah. Hopefully we made it a little bit  
20 clearer in the paper, but just my quick response is that we  
21 mostly mean that the disadvantaged and the people that don't  
22 have the wherewithal to invest decarbonization have the ability  
23 to do that and maybe are given more access to program funds than  
24 those of us that have the ability to pay for it ourselves. Does  
25 that make sense?

1 MR. SWITALSKI: It makes sense to me. I mean the  
2 State actually outlines specifically disadvantaged communities.

3 MS. BROOK: Yeah, yeah.

4 MR. SWITALSKI: And so I think focusing on those  
5 communities is critical. And you mentioned later in that, in  
6 your presentation that the incentivizing of low-income families.  
7 What we know that there -- today is that there are no barriers  
8 to electrification. If you have the resources and the  
9 wherewithal, you can retrofit your home or demand that your new  
10 home is fully electric. So are you willing to commit that this  
11 program will not incentivize renters or homeowners or families  
12 that can already pay for that? I mean will 100 percent of the  
13 50 million --

14 MS. BROOK: No, I don't --

15 MR. SWITALSKI: -- dollars go into communities that --

16 MS. BROOK: I don't -- I don't think it's a hundred  
17 percent and I think that -- we'd love your feedback on this,  
18 right, but my gut says that you could -- I wouldn't hate that  
19 solution, but it could be that there are other benefits more  
20 broadly accrued, scalable benefits by targeting a bigger part of  
21 the market. You know, like if you're going to have some  
22 upstream component where you're getting the products into  
23 California that we want in residential buildings, it's hard to  
24 say no but that can only go into a low-income apartment or  
25 house.

1           So really -- it's really unclear to me, I'm not going  
2 to be the third-party administrator proposing the design for  
3 TECH, but there -- I could see proposals that totally focus a  
4 hundred percent on low income and I could see other proposals  
5 that spin it a different way and say that they're -- we're going  
6 to make sure there's equitable solutions for those of you that  
7 participate and need that help, but we're not limiting our  
8 program to low income, for example. So I don't know which way  
9 it will go, but I don't think that -- right now in our  
10 principles we are not specifically mandating one of those  
11 proposals or the other.

12           MR. SWITALSKI: Okay. Thank you for the  
13 clarification. I would encourage that. I mean we have millions  
14 and millions of people in California, especially those who live  
15 in deserts --

16           MS. BROOK: Yeah.

17           MR. SWITALSKI: -- and very warm areas that are energy  
18 poor.

19           MS. BROOK: Yeah, um-hum.

20           MR. SWITALSKI: They pay more than ten percent of  
21 their --

22           MS. BROOK: Right.

23           MR. SWITALSKI: -- net income on utility bills. And  
24 you speak of scalability and I think we'll get to that down the  
25 line, but that poses a significant set of larger issues as it

1 relates to affordability --

2 MS. BROOK: Right, right, right.

3 MR. SWITALSKI: -- in equity workforce displacement.

4 MS. BROOK: Yeah.

5 MR. SWITALSKI: How are we holding families and  
6 individuals harmless and so are we creating more socio-economic  
7 issues when we're trying to bring every citizen, every person  
8 into the effort of reducing greenhouse --

9 MS. BROOK: Okay.

10 MR. SWITALSKI: -- gas emissions, and so we'll have  
11 that scalability debate as this continues.

12 MS. BROOK: Yeah, that's a good point.

13 MR. SWITALSKI: I'd just encourage that --

14 MS. BROOK: Okay.

15 MR. SWITALSKI: -- we place equity and the issues of  
16 affordability at the forefront when we're making these --

17 MS. BROOK: Okay.

18 MR. SWITALSKI: -- impactful decisions, --

19 MS. BROOK: All right. Thanks.

20 MR. SWITALSKI: -- so thank you.

21 MS. OSMAN: Hi. I am Ayat Osman from the Public  
22 Advocate's Office. I have a few questions.

23 The first one is how will you address the time lag  
24 between the Senate Bill requirement which requires to start it  
25 to be July 2019 and ending with the fiscal year ending June '23?

1 So we are already past July 2019 and I'm assuming there's some  
2 extra time to get the programs in place and implemented.

3 MS. BROOK: Yeah.

4 MS. OSMAN: So how we're going --

5 MS. BROOK: So I'm -- so nobody has told us that we  
6 can't stop -- we have to stop spending money by that -- the 2023  
7 deadline. It's basically we look at it as four years of money.  
8 And we'd love to get started absolutely as soon as possible.  
9 But we also want to be very thoughtful. And, one, the money  
10 wasn't available to do anything, include fund the process  
11 enhancements that the PUC needed to launch the program. So we  
12 have the funding now. And we don't think that we have, you  
13 know, a deadline in terms of when we spend the money. It's just  
14 that the money will not be allocated into the program. You  
15 know, it is only four years of money. Does that make sense?

16 And maybe there might be a deadline, but it might be  
17 created once we enter into contracts with a future  
18 administrator. That might be where the deadline comes in in  
19 terms of how long they have to spend the money.

20 MS. OSMAN: Can you speak about the incentives  
21 designed in the Staff Proposal for the BUILD program?

22 MS. BROOK: Can we wait until we are talking about  
23 BUILD?

24 MS. OSMAN: We're going to talk about --

25 MS. BROOK: Right now we're just talking about the

1 principles of the program.

2 MS. OSMAN: Okay. Okay. So we can ask --

3 MS. BROOK: Yeah, come back --

4 MS. OSMAN: -- that question later.

5 MS. BROOK: Thank you.

6 MR. PILGAARD: Ole Pilgaard from Heliodyne Solar Hot  
7 Water.

8 In the proposal there is -- you mentioned an upstream,  
9 midstream incentive structure.

10 MS. BROOK: Um-hum.

11 MR. PILGAARD: I assume that's opposed to having --  
12 spending money on administrating rebates for, you know, the  
13 homeowners and so on. Can you elaborate a little more about  
14 what you mean by upstream and midstream?

15 MS. BROOK: Oh, yeah. No, what we -- what you just  
16 described we would consider downstream. So in this vernacular  
17 of program influence, midstream would be like the equipment  
18 distribution level and upstream would be the equipment  
19 manufacturer level.

20 So, in other words, before you can get the equipment  
21 installed in a home, somebody has to design it, sell it in  
22 California. You know, a contractor has to find it and be able  
23 to purchase it from a distributor. So it would likely be very  
24 strategic incentives at those levels to get the right products  
25 into the right places in California so that a contractor can buy

1 it and install it in a home. So those -- that's what we need by  
2 upstream and midstream, is the whole supply chain of the  
3 technologies that we want installed.

4 MR. PILGAARD: So it would be kind of --

5 MS. BROOK: So --

6 MR. PILGAARD: -- an incentive per system  
7 manufactured?

8 MS. BROOK: Um-hum. So you're a manufacturer?

9 MR. PILGAARD: Yeah.

10 MS. BROOK: So somebody could propose that you get x  
11 amount of money to provide x number of products, you know, in  
12 five different key distributions locations in the state. That  
13 could be a proposal for an upstream incentive.

14 MR. PILGAARD: Okay.

15 MS. BROOK: I hope I got that all right.

16 MS. RAYEM: A question from the WebEx real quick: Is  
17 it possible for some of the evaluation metric to change or for  
18 new ones to be added, or are those fixed by the CPUC?

19 MS. BROOK: So that's a good question. I think  
20 there's a limited number of those that were fixed by the  
21 legislation. Those are the only mandatory things that won't  
22 change, and I think we had those on one slide, but anything  
23 additional to that that is in the Staff Proposal as we think  
24 this is what should be evaluated, we could change that in the  
25 final proposal. And also, you know, if we find that we missed

1 something and it's still the contract for the evaluation hasn't  
2 been let yet, we could obviously add it then and we could also  
3 hopefully get the right set of requirements into our fee before  
4 we pick the evaluator. So I hope that clarifies the question.

5 MR. HOFMANN: Eric Hofmann, Utility Workers.

6 Can you -- in speaking to -- we were talking about the  
7 principles, --

8 MS. BROOK: Um-hum.

9 MR. HOFMANN: -- could you please describe to me what  
10 the principles would be and offer a suggestion of what I might  
11 take back to the 5,000 members that I represent that are sick  
12 with worry over the longevity of their job. A good-paying,  
13 union job that provides them a home, that they can provide for  
14 their families, there's a pension, a sold retirement, medical.

15 MS. BROOK: Um-hum.

16 MR. HOFMANN: And what do you suggest I go back to my  
17 members and tell them in terms of building decarbonization,  
18 moving to a process where we stop putting in natural gas, which  
19 ultimately eliminates the utility's ability to generate new  
20 revenue, which then eliminates -- by definition, eliminates us,  
21 what do you suggest I go back and tell them?

22 And if the suggestion is to transition into green  
23 energy jobs, I'm reluctant to take that advice based on the fact  
24 that two weeks ago Monday we had an incident where a solar panel  
25 contractor, licensed, didn't call 811, ruptured a gas line, and

1 my friend was killed in the line of duty. So I'm reluctant to  
2 jump into an industry where they don't respect California  
3 Government Code 4216(a), if that is the solution. So, please,  
4 if you could provide me with anything to take back to my members  
5 I'd appreciate it.

6 MS. BROOK: Okay. I probably can't do that right now,  
7 but I guess that just for 1477, just what we're talking about  
8 today, we don't see that we are eliminating the gas  
9 infrastructure in the state of California and so we don't -- we  
10 might be trying to limit the expansion of it, but there are  
11 certainly existing gas infrastructure that will be here for a  
12 long, long time. I really do think it's the broader building  
13 decarbonization policy framework that's going to address the  
14 larger issues of what is the future of the natural gas system in  
15 California, how do we use renewable gas, how do we use the  
16 infrastructure that your members and your friends work on  
17 diligently and provide great livings that they earn and expect  
18 and provide for their families, those are all huge issues that  
19 the State of California has to really come to terms with and  
20 find solutions for, and I'm not in a position to be able to do  
21 that right now.

22 MR. BLUNK: Hi. Scott Blunk from SMUD.

23 In your presentation you talked about combining this  
24 program with other energy programs. I want to ask people to  
25 think more broadly because -- and include combine it with other

1 like health programs, especially for low income; safety; school  
2 attendance programs. There's a lot of other co-benefits to  
3 electrifying. When we know that 12 percent of childhood asthma  
4 cases are brought on by cooking with gas, so that alone is going  
5 to reduce -- or improve health, reduce school absentee in such a  
6 program. So we can think beyond energy, beyond what we're used  
7 to more broadly. So thanks.

8 MS. BROOK: Yeah. Thank you.

9 MS. MENTEN: Hi. Beckie Menten, Center for  
10 Sustainable Energy.

11 So in the aspect of how these programs can inform the  
12 larger framework, I think thinking about how we conduct  
13 evaluation does become really important. California has often  
14 had an energy really reactive evaluation framework which informs  
15 future programs, but something that's a little more rapid cycle  
16 and allows for more adaptive management might be helpful in  
17 terms of making sure these funds can be used as efficiently as  
18 possible.

19 MS. BROOK: Okay.

20 MS. MENTEN: So considering instead of having the  
21 evaluation hiring be something that happens after the fact,  
22 potentially running those concurrently allowing metric  
23 development and identification to be informed by evaluation  
24 consultants in figuring out pathways for recycling lessons  
25 learned on a more real-time basis I think would be useful here.

1 MS. BROOK: Um-hum. That's great. So there could  
2 actually even be requirements of both the evaluation contract  
3 and the implementer contract that there is collaboration and  
4 data sharing, okay. Awesome. Thanks.

5 MR. STRAUSS: Good afternoon. My name is Ariel  
6 Strauss on behalf of SBUA. Thank you.

7 I actually have a follow-up question about evaluation.  
8 I see that the evaluation figure is not part of \$50 million;  
9 does that money come from somewhere else?

10 MS. BROOK: So did we do the math wrong or...

11 MR. STRAUSS: Perhaps. I mean I see 20 million for  
12 BUILD and 30 million for TECH and then --

13 MS. BROOK: So Rory says we did the math wrong, so --

14 MR. STRAUSS: Okay, okay.

15 MS. BROOK: -- we'll figure it out.

16 MR. STRAUSS: So have to rejigger it.

17 MS. BROOK: So we only have 50 million a year. That's  
18 about it.

19 MR. STRAUSS: That's what I thought. Thank you.

20 MS. BROOK: And the evaluation is part of that.

21 MR. COX: That was -- I'll address that real quickly.  
22 It was actually one of your staff.

23 (Laughter.)

24 MR. COX: It was one of your staff who pointed it out  
25 to me yesterday, --

1 MS. BROOK: Oh, oh.

2 MR. COX: -- that, yes, yes, we counted the 50 million  
3 wrong. And so -- so we have to adjust for that. And, yeah, 50  
4 million is all we got. That includes evaluation. And so I  
5 guess that's a good question, and it's in one of my questions,  
6 is \$2 million the right amount because for the more -- you know,  
7 the more we spend on evaluation the less we'll have for program  
8 dollars.

9 You know four percent is -- we use the Energy  
10 Efficiency Standard number, but it doesn't have to be four  
11 percent for this. It could be -- it could be lower if we find  
12 that appropriate. So that's a good -- you know, for folks who  
13 are interested in weighing in on that, we'd love to hear your  
14 comments on -- but, yes, we acknowledge we made the math error.

15 MR. STRAUSS: Okay. So at this point there is no  
16 proposal for how to -- how it will be realigned to still pay for  
17 that?

18 MR. COX: No, but again we're open to suggestions.

19 MR. STRAUSS: Thank you.

20 MR. COX: And we're also open to a lower -- to a  
21 higher budget if someone thinks it needs to be higher. We're  
22 open to -- we're open to suggestions on the evaluation protocol.

23 And we do have something in the proposal that says if  
24 the implementer will provide real-time data so we can have real-  
25 time course corrections and we can know what's going on. So

1 there is that element built into the Staff Proposal on the -- of  
2 the implementer contract --

3 MR. STRAUSS: Thank you.

4 MR. COX: -- in addition to the longer-term  
5 evaluation.

6 MS. BROOK: Yeah. So I think that just burns up the  
7 other -- I just want -- a general comment is that we also  
8 presented the budget there, right, in the split between BUILD  
9 and TECH, so we would love to hear comments about if you think  
10 it should all go to TECH except for the -- we have some  
11 obligation to do BUILD, right. So it doesn't have to be 40-60,  
12 it could be something else, so we'd love to hear your comments  
13 on that.

14 MR. HANWAY: Good afternoon. Darren Hanway with  
15 SoCalGas. I manage all of our Energy Efficiency Programs, which  
16 are the largest in the nation, so we save more natural gas than  
17 any other utility.

18 When I was looking at SB 1477 and kind of comparing  
19 that with the proposal, it seems to me that SB 1477 is an  
20 emissions-reduction bill and the proposals seem to have a narrow  
21 interpretation solely focused on electric technologies or  
22 electrification technologies. And I think that's a tremendous  
23 missed opportunity. There is a plethora of high-efficient gas  
24 technologies that would qualify as reducing emissions over our  
25 current code, whether it's ultra high-efficient furnaces with

1 low NOX or it's a gas heat pump water heater, fuel cell  
2 technologies, and many, many more. And it seems to me that  
3 we're kind of missing the bigger picture if we're narrowing the  
4 program to only focus on a very subset of the market. So I  
5 would encourage you to reconsider that as part of your Staff  
6 Proposal.

7           The other thing I noted, and if I did the math right  
8 from the wildfire rebuild program this morning is that it was  
9 roughly \$3,000 per ton of CO2. Our current Energy Efficiency  
10 programs at least at SoCalGas were less than \$200. So there is  
11 a tremendous disparity in terms of cost-effectiveness, and glad  
12 to see that was one of your guiding principles, but I would  
13 encourage you to look at that further because if we're spending  
14 \$3,000 for CO2 a ton when we could be spending less than \$200,  
15 it seems to me that the money is not going to go where it is  
16 needed the most.

17           MS. BROOK: Okay. Thank you.

18           MR. HANWAY: Thank you.

19           MS. BROOK: So the only thing -- that was a great  
20 comment. The only thing that I remember when we were discussing  
21 the justification -- or what we would recommend in the Staff  
22 Proposal and what we wouldn't in terms of efficiency from both  
23 the gas-efficiency side and the electric-efficiency side is that  
24 since we have such a small amount of money in the 1477 program,  
25 I would propose that your gas-efficiency program should be run

1 at your gas-efficiency programs and equivalent things for  
2 electric efficiency, there's already, you know, a billion  
3 dollars a year split between the IOUs for efficiency programs,  
4 and so we wanted to try to focus the building decarb work on  
5 things that wouldn't happen in either of those places that we  
6 could focus the funding on.

7 MS. WOOD: Hi. Kevin Wood with Southern California  
8 Edison.

9 There have been a number of comments this morning  
10 around cost efficiency for customers, bill neutrality, positive  
11 bill paybacks. And I just wanted to make sure that everybody  
12 and you noted in your staff proposal reads the study that was  
13 done, commissioned by SMUD, LADWP, and ourselves around customer  
14 cost-effectiveness. And there's pretty clear evidence,  
15 particularly in retrofits, that customer bills go down. It's a  
16 great story. We retrofit space and water heating, and in pretty  
17 much all of the cases customer bills go down.

18 It plays well with the financing piece. All this  
19 stuff works really well together. Even on the new build side  
20 there is a lot of positive costs, customer cost benefits. If we  
21 increase the efficiency of those appliances that get installed  
22 for new construction, we can prove that even more.

23 And you guys did point out very well that if we do  
24 this regionally and focus on areas of high-cooling need, so much  
25 the better.

1 MS. BROOK: Right. Thank you.

2 MR. CORMANY: Hello. My name is Charley Cormany. I'm  
3 with Efficiency First California and we're also a third-party  
4 program implementer for the SMUD program.

5 And I wanted to put a caution in here about having  
6 utility bills not go up and I'll give you two scenarios. I have  
7 experience as a contractor doing retrofits. If you take a  
8 baseline of a person who's not heating their home because they  
9 can't afford to and you retrofit and put in a new technology,  
10 they start to use it and they're comfortable, their utility bill  
11 goes up. So that's another -- that's a scenario.

12 MS. BROOK: Um-hum.

13 MR. CORMANY: There's also another situation with heat  
14 pumps. If you go into a heat only situation, like all of San  
15 Francisco, and you retrofit with heat pumps, now they have air  
16 conditioning by default where they've never had it before. So  
17 there is potential for those utility bills to go up.

18 MS. BROOK: Um-hum.

19 MR. CORMANY: So one of the red flags that jumped out  
20 to me is that utilities -- your incentive won't be paid if the  
21 utility bills go up, I think there needs to be some  
22 considerations for that to the structure --

23 MS. BROOK: Yeah. So maybe we should clarify that,  
24 that for the same services, right?

25 MR. CORMANY: Yeah, or some form of a baseline,

1 because if you're --

2 MS. BROOK: If you're adding services, right.

3 MR. CORMANY: -- if you do a heat pump by default, you  
4 have air conditioning where you probably didn't before.

5 MS. BROOK: Right, right. Exactly. So that -- I  
6 would consider that a higher level of service, right? So --

7 MR. CORMANY: But there should be some definitions of  
8 where -- because I would --

9 MS. BROOK: Yes.

10 MR. CORMANY: -- hate for people to lose out on  
11 incentives in that situation --

12 MS. BROOK: No, absolutely. That's a very good point,  
13 yeah. Thanks.

14 Okay, so as facilitator I'm going to move us along.  
15 And I don't have my agenda, but aren't you doing TECH next?  
16 Okay, great.

17 MR. COX: And I brought the whole Staff Proposal in  
18 case I need to refer to it, you know, if somebody has another  
19 thing about 'what's in the Staff Proposal' comes up.

20 Anyway, so I wanted to start my presentation with just  
21 a little anecdote before I get into the meat of the proposal.  
22 It's about my sister's house. Now my sister has a house that's  
23 about a hundred years old or so in Portland, Oregon. And a few  
24 years ago she got a heat pump water heater installed through a  
25 partnership of -- with [Northwest Energy Efficiency Alliance],

1 Portland General Electric -- or is it Portland Gas -- PGE, and  
2 Rotor-Rooter. And she paid about \$700 for this heat pump water  
3 heater and she loves it. It gives them all the hot water they  
4 need and it has the extra bonus of it's ducted and it goes into  
5 a vent in the floor in the kitchen and it provides air  
6 conditioning while it's heating water. That's the function of  
7 this heat pump. And she says it's great and the electricity  
8 bill is lower and she just, you know, is very happy with the  
9 program and very happy with the product itself. And it's been  
10 there for years and she's -- she's good with that.

11 So, you know, this has all been done before, and I  
12 think that little -- that sort of story is a good example of  
13 what we mean when we talk about market transformation, how to do  
14 this with existing customers. It's make it -- they cost about  
15 the same, make it easy, bring in, you know, contractors like  
16 plumbers. She said this plumber that did it was very  
17 knowledgeable and knew everything about the heat pump, knew how  
18 to wire it and everything. Obviously, you know, Rotor-Rooter  
19 did some training. So that's sort of an example of how this can  
20 work in the real world.

21 And, having said that, I'll go through what the sort  
22 of high level of what is in the Staff Proposal for the TECH  
23 program, which is Technology and Equipment for Clean Heating --  
24 Clean Heating, yeah.

25 So here the problem, just in case you haven't seen

1 these sorts of things before, it was mentioned in a previous  
2 presentation, but we actually have about 85 percent of direct  
3 building emissions coming from heating and from water heating  
4 and space heating. And that's why the bill -- you know that was  
5 why it was intentional in the bill that it just be about space  
6 and water heating. That's what SB 1477 says. It doesn't say  
7 anything about -- for the TECH program, it does not say anything  
8 about cooking or hot tubs or dryers.

9 And 70 percent of the direct emissions in the -- are  
10 coming from the existing residential sector. This is what the  
11 problem we have to solve right now is. So it's not as big of an  
12 issue in the commercial sector. This is where we need to  
13 transform the market, is existing residences. And if we don't  
14 do this, there is no way we're going to hit that 40 percent by  
15 the 2030 goal. So just to sort of outline what the -- what the  
16 big challenge for TECH is.

17 Hello. Is it that one? Is it the green one, if you  
18 point it that way maybe -- ah. Okay. So just some legislative  
19 background. This is what the -- this is the language that's  
20 straight from the bill, meaning that the program is intended to  
21 advance the state's market for low-emission space and water  
22 heating equipment for new and existing residential buildings,  
23 and directs the CPUC to identify and target equipment  
24 technologies that are in the early stage of market development  
25 and would assist the State in achieving the State's GHG emission

1 goals.

2           And it should accomplish this through upstream market  
3 development, consumer education, contractor and vendor training,  
4 and the provision of upstream and midstream incentives to  
5 install low-emission space and water heating equipment. So  
6 that's just to sort of level set with all the -- with what the  
7 legislation says, in case you've either read it a long time ago  
8 and forgot or you never read it.

9           And this is getting into the Staff Proposal. So the  
10 CPUC proposes that we will work with Southern California Edison,  
11 who will hold the contract for the implementer for the TECH  
12 program and run a solicitation for the third-party implementer  
13 program. We have a governing structure which kind of puts us at  
14 the -- the CPUC at the center of it.

15           Before I was doing this I was -- I had been managing a  
16 marketing program called Energy Upgrade California, and this is  
17 roughly based on what we've done with Energy Upgrade California,  
18 as I think it's worked pretty well. And so we will be the  
19 managers of the work, but of course we'll have lots of, you  
20 know, ways for input and the sort of -- the collective expertise  
21 of the folks who are in this room or otherwise pretty  
22 knowledgeable about how to do this.

23           And in terms of what we're looking for from an  
24 implementer, these are some of the things that we're looking at  
25 to address the market barriers. Lack -- these are market

1 barriers that exist now: Lack of coordination with other  
2 programs. You know one of the things that we had to do, one of  
3 the reasons we had to sort of patch together -- I mean it worked  
4 out great, but one of the reasons we had to do the PG&E, Sonoma  
5 Clean Power, Bay Area Air Quality Management District. You know  
6 we had to sort of patch together a lot of things. And that's  
7 sort of an example of coordination with other programs, but it  
8 doesn't always work out so well. And we want to be coordinating  
9 with other programs. We want to be coordinating with energy-  
10 efficiency programs and customer-owned generation. And, you  
11 know, everything should be stackable -- is a term I've heard.

12 Untrained workforce. If you go to try to put -- I  
13 think this is slowly changing, but if you called up a plumber  
14 right now and asked them to put in a heat pump water heater,  
15 they'd probably, you know, think like why do you want one of  
16 those, you know, is the question I hear anecdotally that a lot  
17 of contractors, unless they're very specialized, but a lot of  
18 the market does not -- a lot of the contracting market does not  
19 -- not trained how to do this. It's not much of -- it's not  
20 very common in California.

21 Lack of coordination at local permitting offices.  
22 We've heard -- we've heard some permitting offices tell the  
23 residents that things are not even legal. And so there needs to  
24 be some coordination there.

25 Lack of consumer demand. Partly because of all the

1 other reasons, the first few reasons: The consumers just aren't  
2 asking for these things yet. Again I think that's changing.  
3 I've seen them in Home Depot now, so that's progress. But then  
4 there's lack of awareness among -- among contractors. And there  
5 are many more market barriers, so these are the things that we  
6 need to get through.

7           Let's -- oops, what did I do? Oh. That's the  
8 pointer. I'm sorry.

9           So we are looking -- when we will go out to an RFP we  
10 will -- we are to do a competitive bid. And we'll -- we'll be  
11 looking for an implementer which should be able to implement a  
12 holistic market transformation effort which includes all of the  
13 below. The customers and the builders and the contractors have  
14 been policy makers. If there is awareness, that awareness was  
15 raised on this issue, that customers receive a good value, that  
16 builders and contractors receive good value over the incumbent  
17 technologies. And that supply chains and delivery agents are  
18 able to meet a rising demand with quality products.

19           The supply chain is really important in this. And  
20 when I say the supply chain, everything from the manufacturers  
21 to the end-users. It is sort of -- it is a chain and if there  
22 is any link in the chain that is weak or not great, then that  
23 chain isn't such a good chain.

24           So the chain includes the manufacturers, promoting  
25 heat pump products and increasing the market share of heat point

1 products.

2           The representatives who are the ones that promote the  
3 products and they act as an ally, a midstream ally.

4           The distributors. These are the companies that offer  
5 sales and market support, elevate inventories and lines of  
6 credit. Contractor, who are the trusted advisors and trade  
7 allies. And then at the end we've got the end users who need to  
8 find the value in the indoor comfort, health and safety, and  
9 bill savings.

10           So the strategic initiatives that we have sort of  
11 outlined in the TECH program are upstream, so really working for  
12 -- while in incentives in partnerships with supply-side market  
13 actors. The manufacturers, the midstream, the workforce  
14 development, the education and supply chain side management. So  
15 we sort of see two very inter-connected initiatives there.

16           The third initiative is a grants program. That was  
17 brought up by one of the speakers earlier and I believe it was  
18 5- or \$6 million. And the idea of this is to really kind of put  
19 out a competitive grant program that will -- that will just say,  
20 you know, we want innovative ideas -- and these are going to be  
21 pretty localized. And we want innovative ideas in your -- in  
22 your town, your county, your whatever, jurisdiction for how to  
23 get these into people's homes quickly.

24           While we kind of figured out the larger program  
25 dimensions. So the ideas to sort of have, you know, sort of

1 like innovation grants to do this. You know, kind of like the  
2 [Electric Program Investment Charge] program.

3 And the last piece is the prize program, which we were  
4 heard a lot about this morning.

5 And so this is the budget and somehow this one  
6 actually adds up to \$30 million, but again this is roughly the  
7 way it breaks down. So \$22 million for the main stream program,  
8 \$5 million for the Quickstart programs, and \$2 million for the  
9 prize. I mean it was roughly a million for evaluation.

10 So some of the questions. Those are my slides and  
11 I've teed up a few questions, but I'm going to put these out  
12 there and if people want to try to come up and try to answer  
13 them, they are welcome to, or they can make comments of other  
14 things or other aspects of the -- of the TECH proposal.

15 Should a prize be used to augment the TECH program.  
16 If a prize approach is used, what should be the attributes of  
17 the prize. How should any level of incentive or award be set?  
18 Should it be the state agencies or should it be the Program  
19 Implementer? And to what extent should the agencies try to leap  
20 frog to the advanced technologies, like grid connected water  
21 heaters, various taking aa -- I'm just going to leave those  
22 questions up there and invite folks like Ralph to come down  
23 and...

24 MR. DINOLA: Hi. Thanks, Rory. Ralph DiNola with New  
25 Buildings Institute.

1           So we've been working with the Building  
2 Decarbonization Coalition on the heat pump water heater  
3 campaign. And we've done a lot of analysis based upon some  
4 workshops that happened last September. So we recognize that  
5 there are 12 and a half million water heaters in California, 90  
6 percent are using gas.

7           And it seems to me through all the work that we've  
8 done with this group so far what is really needed, if there's  
9 going to be a prize is maybe a competition around a marketing  
10 campaign, a public awareness campaign. We need to do something  
11 to raise public awareness. And because people generally don't  
12 really care where hot water comes from, but we can tie this to  
13 so many of the issues they recognize are in their homes. You  
14 know, public health issues, indoor health, asthma, and other --  
15 other research that has been uncovered and then of course the  
16 connection to environment and climate, et cetera.

17           So we would encourage that if there is a prize that at  
18 least a portion of that funding goes towards a competition for a  
19 statewide campaign that maybe actually could be rolled out into  
20 a national campaign. And I think if California leads, everyone  
21 looks to California, this is a great opportunity with some  
22 funding to actually launch this kind of a national campaign.

23           And then we have a framework, we have a programmatic  
24 framework that recommends incentive level and what the program  
25 structure could look like, so we'd be happy to share that.

1 MR. COX: Okay.

2 MR. DINOLA: Thank you.

3 MR. COX: And on the first point, on the prize, --

4 MR. DINOLA: Yeah.

5 MR. COX: -- let me just ask a question of you. How  
6 will we know when we have a winner for the marketing campaign?

7 MR. DINOLA: Well, I'm curious because the --

8 MR. COX: Yeah, I'm not a means --

9 MR. DINOLA: Well, I --

10 MR. COX: -- for coming here.

11 MR. DINOLA: So the -- you know the presentation this  
12 morning, it was very compelling to hear about the fire  
13 rebuilding program. And I'm saddened by a six-percent adoption  
14 rate. And so I think the question -- like market transformation  
15 should deliver this transformation, we should be halfway through  
16 this transition to electric water heating by 2030. So we have  
17 metrics for success and we can -- we can look at those  
18 milestones along the way, but I think it's critical that we have  
19 a significant adoption rate. And I think without a compelling  
20 connection to say like this is actually -- Owen Howlett has a  
21 great presentation on social movements that I'd recommend you  
22 look at, and he can present. And he's basically suggesting that  
23 this is not about technology adoption, this is a movement and we  
24 have to actually connect this to these broader climate and --

25 MR. COX: Right.

1 MR. DINOLA: -- environmental goals.

2 MR. COX: Okay.

3 MR. DINOLA: Yeah. Thanks.

4 MR. COX: Thanks.

5 MS. BORGESON: Hi. I'm Merrian Borgeson with the  
6 [Natural Resources Defense Council].

7 I just want to thank both Martha and Rory and the  
8 staff from both agencies for this really solid proposal. It's  
9 awesome --

10 MR. COX: Thanks.

11 MS. BORGESON: -- to see you guys sort of taking in  
12 all the feedback you've gotten and really coming out with  
13 something that's super constructive. We'll have little tweaks  
14 to it. You know, there are going to be lots of little  
15 suggestions. I think the one main --

16 MR. COX: That's why we call it a draft proposal.

17 MS. BORGESON: Yes, total agree --

18 MR. COX: In case you're wondering, we --

19 MS. BORGESON: This is how a process should work.

20 MR. COX: Yes.

21 MS. BORGESON: It's great.

22 Just one little tweak. So I spend a lot of time  
23 working on 1477. One piece of the TECH program in terms of the  
24 legislative language was that special consideration should be  
25 given to "technologies that improve the health, and safety of,

1 and energy affordability for low-income households," and I think  
2 that the TECH program portion of the proposal could emphasize  
3 that more. I think we need to think about specific ways that  
4 low-income households, may be certain technologies that may be  
5 present more often in low-income or renter households may be  
6 able to be targeted.

7 In terms of the second question, I don't think we  
8 should be giving super directive instruction to the third-party  
9 implementers, that we have to really make sure what our  
10 priorities are. And because that's in the legislative language  
11 and is like, I think, a priority for everyone in this room and  
12 for the state, we should think about ways that certain  
13 technologies that tend to benefit those populations more, like  
14 really old gas wall furnaces, for example, that have health  
15 issues plus other issues, can be integrated in each piece of  
16 these. So we're going to think about how that can be done.

17 MR. COX: Right.

18 MS. BORGESON: I'd be curious to know any of your  
19 thoughts about that. We'll try to provide some constructive  
20 recommendations. But I think that's going to be a key piece of  
21 making TECH successful.

22 MR. COX: Yeah. I think I -- we would welcome that  
23 certainly, yeah. Thanks.

24 MS. RAYEF: I have a few questions from the WebEx.

25 MR. COX: Okay.

1 MS. RAYEM: Part of the upstream landscape includes  
2 architects and other design professionals who are in many cases  
3 trusted advisors in establishing home design parameters.  
4 Architects are active in projects that range from single-family  
5 to multi-family and mixed-use homes. Where do design  
6 professionals fit into the TECH program landscape?

7 MR. COX: I think they would be more for the BUILD  
8 program landscape. Did we put -- was that in the TECH chapter?

9 MS. BROOK: This is Martha. So I would agree that  
10 mostly it sounds like new construction, but that if there is  
11 like a major retrofit that the design community would get  
12 involved in, that's where I'd see the connection to TECH.

13 MR. COX: Yeah.

14 MS. BROOK: So what -- I would not be surprised,  
15 especially based on what Bruce and others have said today in  
16 terms of connecting the envelope improvements with better  
17 outcomes for space heating and health and grid flexibility, that  
18 there is a design element on that on the TECH side as well as  
19 BUILD.

20 MR. COX: Yeah.

21 MS. RAYEM: The second question is: Does this Staff  
22 Proposal have an official definition of market transformation?

23 MR. COX: I don't think we went there. I don't  
24 remember if it -- I don't remember if we actually tried to  
25 define market transformation. I think we said market

1 transformation framework, but I don't know if -- I think we just  
2 used the term and then we just have all the specific parameters  
3 that we're looking for. I don't know if we tried to get into --  
4 because there is kind of a big debate about that, but I think we  
5 just sort of put in this staff proposal in the pages that  
6 follow, you know, what we're looking for.

7           Should we maybe kind of go back and forth, yeah.

8           MR. SARTER: I'm John Sarter with the Clean Coalition.

9           And I'm really glad to see the question come up about  
10 utilizing grid-connected water heaters and appliance. And I  
11 really think if we don't take this approach, and this is a huge  
12 opportunity as we decarbonize and electrify, to create  
13 technologies and integrate them into homes that are grid  
14 interactive, they support the grid, they can help balance the  
15 grid because there are going to be more loads on the grids as we  
16 move forward potentially, including electric vehicles, right.

17           One thing I haven't seen mentioned is energy-storage  
18 systems and how those might want to play into the TECH arm of  
19 this as well. And I think it's important again as we electrify  
20 to help create resilience to include energy storage as an  
21 element. If you can't incentivize it, at least points within  
22 the prize system to help provide that for moving towards  
23 microgrids for critical facilities and even community microgrids  
24 to help enhance resilience.

25           MR. COX: I know one of the things we're concerned in

1 a different proceeding, the [Self-Generation Incentive Program]  
2 proceeding, is the grid-connected water heater -- grid-connected  
3 water heaters as an energy resource.

4 MR. SARTER: Right.

5 MR. COX: So it's not like you need the water heater  
6 plus energy storage, the water heater is energy storage.

7 MR. SARTER: Yes, right.

8 MR. COX: And so that's what we're considering in a  
9 different proceeding.

10 MR. SARTER: I see.

11 MR. COX: Yeah, because the hot water is your --

12 MR. SARTER: Right.

13 MR. COX: Yeah.

14 MR. SARTER: Yeah. Okay, so it is sort of considered  
15 but not specifically mentioned in this?

16 MR. COX: Yeah. Again, it's kind of being -- it could  
17 be a different incentive stream if that proceeding decides that  
18 that's appropriate, so.

19 MR. SARTER: Okay. Thanks.

20 MR. COX: So it is being considered elsewhere. But,  
21 yeah, I mean we're aware of that, that it is a grid -- it could  
22 be a really good, good resource. Yeah.

23 MR. SARTER: Thanks.

24 MR. COX: Thanks.

25 MR. HEAVNER: Good afternoon. Brad Heavner with the

1 California Solar and Storage Association.

2 I'd mostly like to encourage you to focus on a  
3 concrete outcome. We need units installed, right? I think that  
4 the prize program is intriguing, interesting, it's a good shot.  
5 I have to admit I'm skeptical.

6 And we all recognize that there is not enough money to  
7 do the market transformation that we ultimately need. And it's  
8 good that the Legislature directed you to create a program with  
9 upstream and midstream incentives. The Legislature didn't want  
10 to start with just yet another customer rebate program, so  
11 that's where we start.

12 MR. COX: Yes.

13 MR. HEAVNER: But let's design a framework and it's  
14 not out of the question that we all go back to the Legislature  
15 and say: We've got something exciting, it does take more money,  
16 but we think we can achieve market transformation. And that's  
17 up to us as part of the follow-up.

18 On the marketing, again I'm skeptical. We've seen in  
19 some of the other programs where the Commission-run program has  
20 done general customer -- marketplace marketing programs that  
21 have been duds, really. I mean you think about something like  
22 the "Got Milk" campaign that a lot of people I to point to,  
23 there's a ton of money that went into that. And that is  
24 influencing a decision that a consumer makes every week. You  
25 know, when the water heater is leaking, you're not in the head

1 space in the same way.

2 MS. BROOK: You're not thinking about that fuzzy bear  
3 that you see on -- no?

4 (Laughter.)

5 MR. HEAVNER: Again, worth exploring, but deeply  
6 skeptical. So we can move the -- you know we can move the  
7 incentives upstream, but still base it on concrete outcomes. We  
8 don't need nuclear fusion to -- you know, we know basically  
9 where the technology is. There can be some technology  
10 refinement which is really useful, but ultimately we need units  
11 installed.

12 MR. COX: Well, let me just sort of suggest something  
13 here. And I know Alison said that we don't want to suggest  
14 anything, I'm going to suggest something anyway. What if the  
15 prize was for number of units installed? What if, you know,  
16 some -- you're an HVAC or you're a plumber and you have a prize  
17 that you will get x, \$500,000 if you install 10,000 units -- you  
18 know, the first one to install 10,000 units, then you are --  
19 then you have an outcome. That's the outcome --

20 MR. HEAVNER: Yup, might be a better bit -- and I  
21 don't want to discourage -- probably -- I think creative  
22 thinking is absolutely necessary --

23 MR. COX: Yeah.

24 MR. HEAVNER: -- in terms of financing mechanism. We  
25 all need to do some creative thinking there. So we should do

1 this whole exercise. The report is great, but ultimately don't  
2 think it's only that because we've only got \$50 million a year,  
3 so we can --

4 MR. COX: That's right.

5 MR. HEAVNER: -- never get to the other kind of  
6 program.

7 MR. COX: Right.

8 MR. LUTZ: Jim Lutz again. To follow up on that, what  
9 we really need in this space is something on the scale of the  
10 California Solar Initiative where it's two or three billion  
11 dollars over ten years and a really long span that ramps down as  
12 you succeed.

13 MR. COX: Um-hum.

14 MR. LUTZ: I don't think this is the venue where we  
15 can promote that, but that's --

16 MR. COX: Well, where we can say what's needed. We  
17 can say it, but we don't have the -- the money won't appear.

18 MS. BROOK: But if --

19 MR. COX: If you can go back --

20 MS. BROOK: I would just say that if you're -- we  
21 agree that's the kind of scale we need, then we should be -- we  
22 are encouraging program proposals that pilot that, like --

23 MR. COX: Yeah.

24 MS. BROOK: -- so that we could just take that and  
25 whatever comes out of 1477 TECH and it becomes CSI for water

1 heaters with the legislative move.

2 MR. COX: Yeah. And the fourth phase of this  
3 proceeding is supposed to be a longer-term policy framework.  
4 This is kind of the training wheels or the -- you know, --

5 MR. LUTZ: Okay.

6 MR. COX: -- what we've figured out, where we can get  
7 some lessons learned to put into that long-term policy  
8 framework.

9 MR. LUTZ: Yeah. Another more specific question, if  
10 you can go back two or three slides to the org chart one? That  
11 one, that one.

12 MR. COX: Yup.

13 MR. LUTZ: Yeah. Just based on the success of the  
14 Advanced Energy Rebuild program, I think instead of the third-  
15 party implementer going directly to the subcontractors, it  
16 should be like sideways to the local [Community Choice  
17 Aggregator], city, county organization, whoever has a local  
18 energy office, sustainability office, and then go down to the  
19 subcontractors, --

20 MR. COX: Okay. So --

21 MR. LUTZ: -- so that --

22 MR. COX: -- you're proposing an extra box for local  
23 government partner of some sort?

24 MR. LUTZ: Yeah. Because they obviously have, as  
25 everybody was saying, the boots on the ground and how that --

1 MR. COX: Right.

2 MR. LUTZ: -- will work it hopefully, that a third-  
3 party statewide implementer won't have.

4 MR. COX: Right.

5 MR. LUTZ: A third-party statewide implementer can  
6 keep track of how many water heaters come into California from  
7 the manufacturers, can coordinate the education program that is  
8 the same statewide, that sort of stuff. But the actual  
9 implementation, actually getting things into people's houses  
10 could be -- coordinated very tightly at the local level.

11 MR. COX: Right. Okay. Thanks.

12 MS. RAYEF: I have a question from Tom Conlon on the  
13 WebEx: I don't believe your initial list of technologies  
14 included storage, presumably because of cost and equity issues.  
15 But could very low-cost storage-ready technologies make it on  
16 your short list?

17 MR. COX: The technologies are limited by the  
18 Legislature and it was based in water heating. So for the TECH  
19 program, that's it. Again, you could consider water heating  
20 storage, some do. If it's grid-enabled, it can be -- it could  
21 be considered storage. But in terms of the storage, maybe the  
22 questioner is thinking of which is, you know, a battery, no, it  
23 is out of scope of the law.

24 MS. BROOK: Maybe a storage technology resulted in a  
25 reduced emission for space or water heating; is that too

1 indirect?

2 MR. COX: I suppose it -- I guess I'd have -- I'd have  
3 to look at the -- I suppose that -- if anything that reduces  
4 emissions from space and water heating.

5 MS. BROOK: Yeah. I mean I think that was probably  
6 the intent of the question, that would be my guess --

7 MR. COX: Yeah.

8 MS. BROOK: -- is that -- you know, we know the grid  
9 doesn't have the same emission intensity 24/7 and so if you can  
10 use storage to heat your hot water, at times of low carbon then  
11 there is potential play there.

12 MR. COX: I guess that could be -- yeah, I mean I  
13 guess if it -- if it -- that's a good --

14 MS. BROOK: I think that -- the outcome that this  
15 discussion right now gives me as a staff member of the proposal  
16 is let's make sure the next version allows for that kind of  
17 flexibility when it's appropriate, like so that we don't close  
18 the door --

19 MR. COX: Right.

20 MS. BROOK: -- inappropriately but not keep it so  
21 open-ended that we haven't focused in the right way.

22 MR. COX: Right, that's very true.

23 MR. SWITALSKI: Thanks. John Switalski, Californians  
24 for Balanced Energy Solutions.

25 Once again, I wanted to just push back on the

1 marketing campaign suggestion. I want to really caution you as  
2 stewards of public dollars and representatives of agencies that  
3 we're using -- potentially using public dollars to run a  
4 marketing campaign to raise awareness for manufactured items,  
5 for heat pumps.

6 MR. COX: Um-hum.

7 MR. SWITALSKI: So we're therefore advertising for  
8 these manufacturers who also are getting highly subsidized,  
9 consumers are being subsidized to purchase these products. And  
10 so really the question is, is that the highest and best use of  
11 public dollars within this program, given all the issues of  
12 trying to scale, as a previously-stated goal, issues of  
13 affordability and equity.

14 I think you need to ask the coalition and the  
15 manufacturers to come to the table and be a partner with you.  
16 And if they want a marketing campaign, then we should be paying  
17 for that out of private dollars and not out of these funds and  
18 out of public dollars, taxpayer-funded dollars. So I think  
19 that's kind of important that we keep that high level of the  
20 best and highest use of that public money. Thank you.

21 MR. COX: Thank you.

22 MR. CORMANY: Hello. It's Charley Cormany again with  
23 Efficiency First California.

24 I'm going to speak now as a program implementer to  
25 point number 2. One of the advantages, we have run the

1 [Sacramento Municipal Utility District] program, we're a third-  
2 party implementer, and we're constantly making adjustments and  
3 refinements to the program. And within that it includes  
4 changing amounts of rebates and incentives for various  
5 components based on what we're seeing in volume and uptick and  
6 what our goals are. I can't imagine how restrictive it would be  
7 to put that, to have to go through a state agency or process.  
8 So, hands down, I think the program implementer should be  
9 responsible for incentive levels.

10 MR. COX: Okay. Thanks.

11 MS. WEST: Hello.

12 MR. COX: Hi.

13 MS. WEST: This is Jennifer West. I work at StopWaste  
14 but I also work on a program funded by the Air District for two  
15 years under a [Bay Area Regional Energy Network] umbrella on the  
16 nine county, a midstream incentive program for heat pump water  
17 heaters. We're about six months into that and we're still  
18 setting up our program design, but it's very exciting to see the  
19 possibilities here of something statewide, similar to what we  
20 have been working on.

21 First, I just want to echo Merrian's comments about  
22 low-income households within the TECH program and how important  
23 I think that is.

24 And, secondly and more broadly, to comment on  
25 something that didn't come up which is in the Staff Proposal a

1 geographic focus on -- I think it's based on the E3 study -- for  
2 heating and air conditioning loads. And I just want to point  
3 out the difference between space heating and water heating, and  
4 that clearly a statewide incentive program that targets water  
5 heating I hope would not be restricted to climate zones given  
6 that everyone is using water heating and that about two-thirds  
7 of our population live in coastal communities, so I just wanted  
8 to make sure that that restriction is not being applied unduly  
9 to the water heating program.

10 MR. COX: I just have a question on that. One of the  
11 compelling reasons to go to hotter zones is the panel size. So  
12 if you -- you know, the -- if a house already has an air  
13 conditioner, you don't need a panel upgrade, supposedly, because  
14 the panel has the capacity to handle the extra load. Whereas if  
15 you are in the Bay Area where people don't have air  
16 conditioning, on the inner Bay Area anyway, then it's a panel  
17 upgrade, it might be another thousand dollars. Should we  
18 provide an incentive for that panel upgrade too when we can --  
19 it's kind of like you can do two incentives in Fresno or one in  
20 --

21 MS. WEST: Right.

22 MR. COX: -- and one in the Bay Area. What is the  
23 right --

24 MS. WEST: Right. That's a concern. I don't actually  
25 have a good answer for you on that, --

1 MR. COX: Okay.

2 MS. WEST: -- although I know that it's a real barrier  
3 for folks here because we're running into that --

4 MR. COX: Yeah.

5 MS. WEST: -- with our -- in concern with our program.

6 MR. COX: Yeah.

7 MS. WEST: I will say that in terms of the market  
8 transformation I don't think you want to exclude coastal  
9 communities because that's not going to be -- I mean the market  
10 here at least in the Bay Area is much larger than the market  
11 just over the hill, so just a concern that you would -- for a  
12 distributor to look at the larger market, if you're applying  
13 incentives in just one geographic area it's going to restrict, I  
14 think, what happens.

15 MR. COX: Um-hum. Right. Okay.

16 MS. WEST: Thank you.

17 MR. COX: Thanks.

18 MR. SEVERANCE: Pardon me for skipping around, but I'm  
19 mostly going to offer a couple of comments and one is that, you  
20 know, cost-effectiveness I think is key. And one of the  
21 criticisms of Energy Upgrade California was that they had fairly  
22 high administrative costs with that program. And I think a lot  
23 of marketing dollars were spent trying to force-fit the glass  
24 slipper.

25 And inclusive finance I think would avoid a lot of

1 those costs because it's a program that would sell itself. And  
2 there's some discussion of partnering with Zero Home that could  
3 actually target by address which homes fit that model the best.  
4 So you could eliminate a lot of the marketing dollars.

5 And I agree with the previous comments that it's  
6 questionable using public funds to market for private industry.  
7 I would question that myself, although I think it's important to  
8 create awareness around SB 350's goals in general because I  
9 think the general public is not aware of decarbonization or that  
10 initiative, you know, as a whole.

11 So that segues into, you know, Mitsubishi supports  
12 incentivizing things like development of low-GWP refrigerants.  
13 The prize could be done, something in that category, kind of a  
14 moon shot to not do this as an incremental change over the next  
15 15 years but like let's get everybody moving towards [global  
16 warming potential] refrigerants more quickly.

17 Another idea that came up over lunch was to  
18 incentivize with the prize money product development that would  
19 readily retrofit into multi-family residences. They would  
20 integrate hot water and space heating, and have some synergies  
21 where that's concerned with minimal impact as in drywall and  
22 modification of the residence that would make it uninhabitable  
23 for any period of time, so an upgrade crew could come in and in  
24 hours be done and back out again.

25 I had one other comment and that was in regard to

1 comments by -- I think your name is -- Eric, with the Gas  
2 Utilities Union. I don't think gas appliances work without  
3 electricity and in most cases these days, except for the old 50-  
4 percent efficient gas water heaters that we really do need to  
5 get rid of. So I don't know that we're gaining any resiliency  
6 by holding onto gas. I appreciate the need to kind of maintain  
7 job security for that market, but I think that there are still  
8 going to be those jobs. There's still going to be a gas  
9 infrastructure.

10 Also the area burned, according to the National  
11 Climate Assessment on page 163, it indicates that the area  
12 burned between 1984 and 2015 in fires nationwide is  
13 approximately double would it would have been if climate change  
14 hadn't occurred. So the spark that causes the utility, you  
15 know, power line dropping in a high wind and causing that fire  
16 has greatly increased the scale and the scope of this property  
17 damage that we're seeing. And that is directly related to  
18 fossil fuel consumption and not to the utility. So 20 years ago  
19 the typical damage was 300,- to 500 million a year, and now  
20 we're seeing 17 billion in this peak year recently. So I think  
21 we need to look at the actual root causes when we make -- when  
22 we draw those comparisons. Thank you.

23 MR. COX: Thanks.

24 Are we caught up with the webinar, with the WebEx?

25 Okay.

1 MR. NESBITT: George Nesbitt, HERS rater.

2 To kind of restate something you said earlier, we  
3 can't build new buildings to reach our goals because there's a  
4 lot more existing buildings. So I'd say back to the question  
5 earlier with Martha as far as funding, more funding needs to go  
6 towards, focused towards existing buildings.

7 The thing is we actually suffer from many of the same  
8 problems, existing and new buildings. Technology is not really  
9 the answer. Okay, the tankless water heater is more efficient  
10 in theory. But when you have endless hot water, you can use  
11 more hot water. Put in a high-efficiency gas furnace into ducts  
12 that are not in conditioned space, not or poorly insulated,  
13 leaky, and as some have said you're wasting energy more  
14 efficiently. So we -- I mean many of us know and do, we know  
15 how to build buildings that perform well and will need less  
16 energy.

17 So if we're focused on technology and just getting  
18 heat pumps or efficient water heaters or decarbonization of  
19 specific appliances, especially in existing homes that are  
20 uninsulated, not airtight, have excessive solar gains, so on and  
21 so forth, it's an uphill battle. And then so the common thread  
22 between new and existing is just the fact we don't design right.  
23 And even if we did, we don't build it right. We don't implement  
24 code practices as well as we should. And so there is lots of  
25 problems. But, just in general, existing homes cost more than

1 new. I mean the incremental cost is small.

2 MR. COX: Sure.

3 MR. NESBITT: Just a couple -- a thought. As a  
4 contractor, if the supplier stocks something it's probably more  
5 likely to get used. So in the sense one thing we do need to  
6 focus on is getting equipment stocked and also reducing price  
7 difference.

8 MR. COX: Right.

9 MR. NESBITT: So a traditional water heater, well, it  
10 used to be like 300 bucks or even less, but a high-efficiency  
11 water heater would run like 1400. And so, you know, bringing  
12 those price differences down. And I mean it may have to come  
13 through even taxing lower-efficient equipment to make -- to  
14 bring their price up. So the better stuff has to be available  
15 and it really shouldn't be so much more expensive.

16 MR. COX: Right. Thanks.

17 MR. BUCH: Hi. Dan Buch from the Public Advocate's  
18 Office.

19 So one of the things I've been hearing in the  
20 conversation is a bit of slippage between what the legislation  
21 requires, which are midstream and upstream market transformation  
22 approaches, and downstream sort of customer-facing programs and  
23 incentive design. And that makes me think that there was a  
24 comment earlier about having a clearer definition of what market  
25 transformation means in this context, but that might be helpful

1 to try to steer towards the approaches that are permissible for  
2 -- say for the TECH program and those that are the off the  
3 table, so like, you know, incentivizing panels is probably a  
4 downstream issue that isn't really where you're headed here and  
5 --

6 MR. COX: Right.

7 MR. BUCH: -- for -- just as an example or what the  
8 incentive design is and to try and focus more on distributors,  
9 contractors, incentives, manufacturers, those level of  
10 intervention may be helpful just in terms of framing the  
11 conversation.

12 And then a couple of specific comments. One and sort  
13 of a question which was I noticed that the budgets for TECH are  
14 the same across all four years, but some of the purposes of the  
15 budget elements seem that they have different timing. Like you  
16 have a grant program that seems like it's supposed to get some  
17 things off the ground --

18 MR. COX: Right, right.

19 MR. BUCH: -- really quickly, and similarly you have a  
20 prize program but that at least as budgeted that's two million a  
21 year for four years. I wonder if staff considered moving some  
22 things around and we'll think about how we might be able to make  
23 some recommendations about how to meet your purposes, you know,  
24 --

25 MR. COX: Yeah.

1           MR. BUCH:  -- in comments, but it seems like you might  
2 want to frontload certain things and then backload others, and  
3 as you sort of ramp up, you know, like if you want to do small  
4 grants that to do something rapid.

5           MR. COX:  Right.

6           MR. BUCH:  Maybe you want to do \$10 million upfront  
7 and then over the first two years and then no more while -- as  
8 you ramp up your larger program.

9           MR. COX:  Um-hum.

10          MR. BUCH:  I'm not vouching for those numbers, just as  
11 an example.

12          MR. COX:  Yeah.  No, and that's -- that's a good  
13 suggestion.

14          MR. BUCH:  And I guess the last one is that the prize,  
15 so far we haven't heard -- I haven't heard a clear articulation  
16 of what the presenter was sort of saying, that Goldilocks  
17 principle of you need a specific thing that you're looking for,  
18 not too specific, but you know specific enough.  At this point  
19 it looks like an invitation from staff for folks to propose what  
20 that is.

21                 It may make more sense, if you don't have that yet, to  
22 move that prize into a set of possible tactics rather than to  
23 allocate funds specifically dedicated to it and therefore not --  
24 that you can't allocate to something else, since you wouldn't  
25 want to have \$8 million, you know \$2 million a year or a

1 significant portion of your budget locked up if nobody ever  
2 really identified something --

3 MR. COX: Sure.

4 MR. BUCH: -- that's appropriate for a prize and --  
5 for example, like a competition to have the most installations,  
6 you will essentially award a prize to the largest installer in  
7 the state. Whoever starts as the largest installer --

8 MR. COX: Yeah.

9 MR. BUCH: -- will win your prize.

10 MR. COX: Right.

11 MR. BUCH: I don't think that's the specification you  
12 want, so you may want to make some modifications along those  
13 lines.

14 MR. COX: Right. Thanks, Dan.

15 MS. BROOK: You're doing good on time, actually.

16 MR. COX: We do have till 2:45 now or 2:30?

17 MS. BROOK: Well, we were going to start BUILD at  
18 2:30, but we came back five minutes late --

19 MR. COX: Okay.

20 MS. BROOK: -- or ten minutes late, yeah.

21 MR. COX: Okay. All right, gotcha.

22 MR. COLE: Yeah. Hi. Sasha Cole, also from the  
23 Public Advocate's Office.

24 And I was inspired to get up by Jennifer's comments  
25 about whether we focus on customers in the Central Valley or on

1 the coast, but there is a whole bunch of questions of who we  
2 prioritize with these programs, low income or not low income.

3 I try to think about this from a market transformation  
4 perspective, which means in the end maybe we want everybody to  
5 get stuff. But we can't do everybody at once and so you think  
6 about it from how do you build a market. Where is the easiest  
7 place. What are the first barriers that we want to address, and  
8 then you iterate on that.

9 So from that perspective if the benefits are bigger  
10 for people in the Central Valley, then maybe you say, well, this  
11 is where the clear benefits are short term. And we build a  
12 workforce and we build a market, and then we move.

13 The same thinking can go through low income. I'm not  
14 going to follow through the logic for each segment, but I just  
15 want to encourage people not to think about it as this limited  
16 pot of money that let's make sure we get this for our little --  
17 our little segment of the market, but to think strategically  
18 like everyone's going to get this. Hopefully over time the  
19 costs will come down too, so people who get it later will pay  
20 less. The installation qualities will go up, the installers  
21 will have more experience about how to use the technology and  
22 how to adapt it. But those are learning outcomes. Those things  
23 will occur over time.

24 And so in thinking about priorities in the short term,  
25 we'd want to think about what can we -- where can we make the

1 biggest impact right away. And then we'll, in doing that,  
2 discover barriers that keep us from spreading out from there and  
3 develop strategies with our new experience to address those  
4 other segments that aren't getting addressed properly. And  
5 that's the approach that I plan on encouraging my team to make  
6 in comments. And I just want people to think about that. It's  
7 not about, like, okay, does the Central Valley get it or do the  
8 coasts get it. It's about where can we make impact and grow the  
9 market most effectively and develop that expertise and knowledge  
10 to keep the momentum going.

11 MR. COX: Right. Thanks.

12 MS. GANATA: Hi. Good afternoon. My name is Jennifer  
13 Ganata. I'm a senior staff attorney at Communities for a Better  
14 Environment.

15 So we represent folks in East Oakland, Richmond,  
16 Southeast L.A., and Wilmington. And actually I wanted to -- you  
17 know I appreciate the use of equity and prioritizing equity.  
18 And I want to say that I think as a lot of our folks that we  
19 help, our community members, a lot of them are tenants. And I  
20 think as California is both facing a climate crisis as well as a  
21 housing crisis, I think this is one of those things that while  
22 you're creating incentives that the people who are benefitting  
23 are the people who spend the most of their income to utilities  
24 as well as the people who are living in these frontline  
25 communities who are being impacted as a result of climate

1 change, the climate crisis.

2 And so as we look forward in terms of the TECH, to  
3 ensure that whoever is taking this, if it's a multi-dwelling  
4 unit or, you know, housing, et cetera, for tenants, that those  
5 people who are going to benefit from the actual technology they  
6 won't be displaced because you know they're retrofitting the  
7 building, et cetera. And I think that a lot of programs in the  
8 State of California don't think about that long term, because we  
9 do have a lot of tenants and we do have a lot of low-income  
10 tenants, and I just wanted to stress that part.

11 MR. COX: Great. Thanks.

12 MR. BLUNK: Hi. Scott Blunk from SMUD.

13 A couple things. You mentioned the permitting offices  
14 and not -- having trouble getting them through. We had that  
15 trouble initially as well. The first few took a lot of extra  
16 work to get through. After that it's now simple, so that  
17 shouldn't be a big focus of this.

18 MR. COX: Except that there's hundreds of permit  
19 offices --

20 MR. BLUNK: Yeah, yeah. Yeah, but -- I mean hundreds  
21 of offices, sure. But it's a very short-term problem.

22 MR. COX: Yeah, yeah.

23 MR. BLUNK: I also kind of reiterate something  
24 somebody just said, was money going to a local jurisdiction kind  
25 of directly. I think if we want to talk about market

1 transformation, I think the biggest market transformation thing  
2 that happened this year so far is Berkeley banning gas. Even  
3 though that may save no carbon or almost no carbon this year or  
4 next year, I think the ripple effects through the state and  
5 through the country are going to be really huge. So money going  
6 to a local jurisdiction to ease the transition, so basically  
7 offering at the same time where you're implementing, the  
8 jurisdiction is implementing something, it doesn't have to be a  
9 ban. There's also an incentive to go along with it at the same  
10 time, not just a carrot, but -- or a stick but a carrot too on  
11 both sides may -- may help.

12 I also think a prize on a low-global-warming potential  
13 refrigerant will be really great. We have them. We don't have  
14 them in the technologies we're installing right now. I know  
15 Sanden is doing great with their CO2, but to get that in the  
16 rest of the equipment would be -- or something like that would  
17 be a big winner.

18 And also to go back to before lunch, explaining this  
19 to my mom, you know, using that paradigm, how do I explain to my  
20 mom I'm working on -- or I'm working on carbon emissions, what  
21 does that really mean. And to me that simply means gas  
22 pollution. When we talk about buildings and carbon emissions,  
23 carbon emissions is a very nice way of saying gas pollution. So  
24 I just want to kind of frame it that way. Thanks.

25 MR. COX: Thank you.

1 MR. PILGAARD: Ole Pilgaard from Heliodyne Solar Hot  
2 Water.

3 In fear of stating the obvious, we have 12 million  
4 water heaters installed in California. It's representative of a  
5 replacement market of around 800,000 water heaters a year. My  
6 experience after 25 years in that branch is that the majority of  
7 those are emergency replacements. Very few is planned  
8 replacements.

9 MR. COX: That's right.

10 MR. PILGAARD: That means the person that has to take  
11 the decision about a new way of heating water may not be  
12 presented with that alternative fuel-switching technology.

13 MR. COX: Right.

14 MR. PILGAARD: So they're going to go with the same  
15 brand, the same type, and be over with it and probably at a much  
16 less cost. So -- so that's one of the biggest barriers, as I  
17 see it, having been in that business for so long.

18 MR. COX: You only want to take a cold shower one  
19 morning, and then that's --

20 MR. PILGAARD: No, I mean you know how it is, right?

21 MR. COX: That's right, yeah.

22 MR. PILGAARD: You know you have a water heater, we  
23 all have a water heater.

24 MR. COX: Sure, yeah.

25 MR. PILGAARD: We don't really know which brand it is,

1 we don't -- we know approximately where it is, and so on.

2 MR. COX: Yeah, yeah.

3 MR. PILGAARD: But we only really care about it when  
4 you get a cold shower.

5 MR. COX: Yes, exactly.

6 MR. PILGAARD: So that's one of the keys that has to  
7 be solved in order to get --

8 MR. COX: Yeah.

9 MR. PILGAARD: -- mass deployment of a new technology.  
10 The second thing I would like to say is that obviously  
11 I represent solar hot water. We made a study with the Air  
12 Source EC that the equivalent value of solar hot water is  
13 around 16 compared to heat pumps about average two and a half.  
14 So consider having a rated incentive structure to reward the  
15 technologies that gives the most displacement.

16 MR. COX: Okay.

17 MR. PILGAARD: Thank you.

18 MR. COX: Great. Thanks.

19 MR. GAHAGAN: Greg Gahagan, UMA Solar.

20 Following up a little bit on that, in terms of water  
21 heating and greenhouse gas emissions, are you looking at all in  
22 terms of multi-family projects where there's pools?

23 MR. COX: Yes. I don't believe pool heating is in the  
24 -- it's just space and water heating. When I think -- when it's  
25 water --

1 MR. GAHAGAN: It's water heating. It's water heating  
2 with really large amounts of natural gas --

3 MR. COX: Right.

4 MR. GAHAGAN: -- and greenhouse gas emissions.

5 MS. BROOK: Yeah.

6 MR. COX: Yeah. I'm not -- pool heating I think is --  
7 I'd have to look at the bill language to see.

8 MR. GAHAGAN: We would appreciate you --

9 MR. COX: But multi-family, certainly. I mean that's  
10 --

11 MR. GAHAGAN: Yeah, it is multi-family.

12 MS. BROOK: Yeah, yeah, yeah, yeah. So please provide  
13 your comments and --

14 MR. GAHAGAN: Okay.

15 MR. COX: Yeah.

16 MR. GAHAGAN: Thank you.

17 MR. COX: Yeah. Thanks.

18 MR. DINOLA: Hi. Ralph DiNola, New Buildings  
19 Institute.

20 Sorry I didn't answer your question 3 when I was up  
21 here last time. I'm just wanting to reinforce that these  
22 pilots, moving forward with SB 1477 and the TECH program is an  
23 ideal opportunity to do grid-connected water heaters. And I'd  
24 point to NEEA. They have an advanced water heating  
25 specification, the Northwest Energy Efficiency Alliance. And

1 then the State of Washington, recently the Legislature passed a  
2 requirement that all electric water heaters have that grid-  
3 connected capability.

4 So following the State of Washington and really  
5 embedding it in the program I think would be a real benefit and  
6 especially given the challenges of the duct-driven California,  
7 the 12 and a half million water heaters, as we do this  
8 replacement would be a great resource for energy storage.

9 MR. COX: Great. Thanks.

10 Are we done?

11 MS. BROOK: So Bruce is coming up and let's make that  
12 the last one. It has to be quick. Thanks.

13 MR. SEVERANCE: I'll be quick.

14 MS. BROOK: Okay.

15 MR. SEVERANCE: I just wanted to advocate for  
16 midstream incentives because I think supply chains are really  
17 key. And that has been a real barrier, but I also advocate for  
18 what one of the commenters said about targeting low income and  
19 high AC cost regions. I think it makes sense to -- we're going  
20 to get the most ROI for the investment if we're doing  
21 electrification on homes that have both AC and furnaces. And  
22 for that reason I think focusing on low-income regions in the  
23 Central Valley really makes a lot of sense and that we really  
24 should pair with that, the HVAC industry as a whole, the  
25 contracting side of it, is very short of workforce and workforce

1 development. And this initiative provides for that. And there  
2 is a high retirement rate at this moment in time and very few  
3 new people coming in. There is a need for recruitment at the  
4 high school level.

5           There is also a need for a new HVAC business model,  
6 where HVAC contractors currently are not allowed by state law to  
7 address things that impact the heat load calculations in the  
8 system sizing and the house. They're not allowed to replace  
9 insulation in the attic, perform air ceiling, hire  
10 subcontractors to do that even though those are very  
11 nontechnical things that general contractors are required to do,  
12 the HVAC contractor should be allowed to do that as well and  
13 benefit from those subcontracts, be able to mark those up so  
14 that that's offsetting the money that they're losing for  
15 downsizing the system. If we were to implement Chitwood's  
16 methodology -- I think everybody here is familiar with Rick  
17 Chitwood -- we can cut the typical five-ton AC system down to  
18 two tons. And there is no reason why we shouldn't be mandating  
19 that as part of this program because that's solving the grid  
20 harmonization and the grid capacity issues of electrification as  
21 well. So those are my main comments.

22           And, oh, one last thing. I disagree, incentives  
23 should be for both space heating and domestic hot water because  
24 we face the same market barriers.

25           MR. COX: Um-hum.

1 MR. SEVERANCE: Yeah.

2 MR. COX: Right. Thanks.

3 All right. Thank you. Those were great questions,  
4 everyone. Thanks so much.

5 MS. BROOK: Don't all of you leave, Bruce. So thank  
6 you for staying and listening to Bill. And this is the last  
7 thing that we're going to torture you with today.

8 So -- and we do -- even though you guys have had great  
9 questions, they have not been the same ones that we asked  
10 ourselves and ask you to respond to in the Staff Proposal, so we  
11 really do want you to consider those in your comments back to us  
12 because they'd be very helpful.

13 So we're proposing that the California Energy  
14 Commission administrates BUILD as, you know, a direct connection  
15 with our new construction of Building Efficiency Standards  
16 efforts. We recommend that the -- we provide direct incentives,  
17 financial incentives to the deployment of near-zero emissions  
18 technologies to reduce emissions in new residential buildings.  
19 The focus is new and single- and multi-family dwellings, so the  
20 eligible recipients that we're proposing are either owners of  
21 building -- of new buildings, you know, new owners or the  
22 builders or even the subdivision developers of new residential  
23 housing. So all those are options for where we place and target  
24 the incentives.

25 A minimum of 30 percent of the funds must be reserved

1 for low income, as defined in the legislation. And we're  
2 proposing that the Energy Commission, if we are the  
3 administrator, or any -- whoever administrates the program  
4 actually lets competitive solicitation quickly for  
5 administration of technical assistance to be provided  
6 specifically to low income building developers because we  
7 understand there is really specific needs in that area, both in  
8 matching the technology with the building needs and getting  
9 access to the funding in specific ways and, you know,  
10 understanding that whole low-income, development marketplace.  
11 So we don't have that expertise at the Energy Commission and we  
12 think that it would be well served to provide that direct  
13 technical assistance.

14 So the budget summary for BUILD, I think we had talked  
15 about this, so I'm going to keep going, reflect for time. There  
16 is nothing new there.

17 This also I don't think is too helpful. I'm going to  
18 talking about each of these elements. This is in the proposal.

19 This is our streamlined proposal for how the BUILD  
20 program structure would go. Hey, it all fits on one page, so  
21 it's simple.

22 (Laughter.)

23 MS. BROOK: So there's a lot of information here which  
24 is in the proposal. So it is a one-page summary.

25 So this again, what I just said about a competitive

1 solicitation for technical assistance, experience focused on  
2 low-income property development. And we would love your  
3 feedback on the amount of funding we're proposing for this. We  
4 have, even internally, debated whether the low-income funding  
5 should go directly into incentives or a split between incentives  
6 and design -- you know, technical assistance. So -- or if we  
7 could -- if we should actually spend more money on low income  
8 and say at a minimum 30 percent goes directly to incentives and  
9 in addition to that we should have tech assistance, so we would  
10 love your feedback on that. I think it's an important thing to  
11 do right and we want to pilot the right contributions to the  
12 low-income market.

13           So we're thinking about this pretty directly as, you  
14 know, a technology-specific -- like what we do in a building  
15 standard, where we would provide you a performance credit for a  
16 specific technology that saved energy. Here we're proposing to  
17 do a specific incentive level based on emissions reductions for  
18 specific technologies. We know that some of the emissions will  
19 obviously change by climate zone if the technology is climate  
20 sensitive, like space heating and space cooling.

21           We're proposing two levels of incentives: A base  
22 level of incentive for space heating, water heating, and  
23 electric cooking. One of the things that I only said once this  
24 morning but I should reiterate here is that we are proposing to  
25 have an entry-level requirement of an all-electric home. So we

1 think there are very big policy benefits for the state of  
2 California to pilot not extending the gas infrastructure to help  
3 us meet our climate goals. And so we would love to see the  
4 BUILD part of 1477 really focus on low-carbon, all-electric  
5 construction. And, again, there is a huge paradigm change here  
6 for new construction, so we acknowledge that, even more reason  
7 to focus on it, we think. We would love your feedback.

8           And then so that's the base level. We do think that  
9 we have the ability to incent electric cooking, so high-  
10 efficiency electric cooking, because the legislation didn't  
11 limit us the way it did in TECH for space heating and water  
12 heating. In BUILD it's just low-carbon technologies. And so  
13 since we have that all-electric requirement, we really want to  
14 get that cooking part right, again for market transformation, to  
15 get consumer acceptance of cooking with electricity and also to  
16 really get the emissions savings.

17           We're also proposing kicker incentives that would  
18 encourage additional emission reduction benefits beyond the  
19 baseline level, so this would include thermal storage either  
20 through really good envelope technologies that allow you to  
21 shift space heating and space cooling load to lower-carbon  
22 periods of the day and evening, or electrical storage. Low-  
23 global-warming potential refrigerants.

24           The other question mark is an idea that again we want  
25 to keep open, the idea of a kicker incentive, the thing that

1 comes to mind for me is this new construction, it's going to be  
2 largely targeted at production builders. They build the same  
3 thing over and over again in different parts of the state. So  
4 if we really want the best technology and technology  
5 combinations for low-carbon solutions, we probably want them to  
6 design differently than they do now.

7           So the combination, like what we heard from Rory's  
8 sister where she got air conditioning as an outcome from her  
9 heat pump water heater. That's not going into any production  
10 building that I know of in California. So if we could offer a  
11 little bit of other kicker incentive for design assistance, to  
12 help people get over the hump of doing a production build with  
13 the new technology combinations, we think that would be money  
14 well spent.

15           Let's see. Perform metrics for BUILD. Obviously  
16 greenhouse gas emissions reductions and avoided emissions. The  
17 cost that we would be spending on the emissions reductions,  
18 projected bill savings, so again this is new construction. So  
19 we would basically use the 2019 Building Standards as the  
20 baseline, assuming that everyone's going to build to that level,  
21 as estimated with our Performance Compliance software. And then  
22 the bill savings would be what we would project using that same  
23 modeling software.

24           We're going to track the number of low-emissions  
25 systems installed and other things that you recommend to us, we

1 will include in our final proposal.

2           So this is the evaluation part that is for both BUILD  
3 and TECH. I think we have talked about this. I'm reading  
4 quickly. Tell me if there is anything new here. I think that  
5 what I've -- you guys have already given us great feedback about  
6 the relationship between evaluation and the program implementer  
7 and how we'll have to really design that well for both BUILD and  
8 TECH in order to do a really -- also to innovate on the  
9 evaluation side of repair programs. So we heard that part.

10           We are proposing that the Energy Commission is a good  
11 option for administrating BUILD, again because we have the  
12 implement, the Building Standards, we have experience  
13 implementing new construction programs like the New Solar  
14 [Homes] Partnership Program. We have this great working  
15 relationship with the CPUC but we also know that they tend to  
16 provide oversight in a really effective matter and low-cost  
17 matter. So we propose that we would actually -- similar to what  
18 we do for the EPIC program, where we propose -- we submit an  
19 implementation plan for BUILD to the Public Utility Commission,  
20 which they then review and approve. We have regular staff  
21 meetings which include the reporting on our implementation  
22 status.

23           We'll have a joint evaluation contractor, so we'll be  
24 able to communicate through that mechanism as well and track  
25 progress. And then if there is any, you know, significant

1 change in direction or funding levels, then we would bring that  
2 back to the Public Utility Commission for their -- first to  
3 discuss and then review and approve.

4 Time lines. This is in the proposal. Basically,  
5 we're going to try and get started as quickly as possible.  
6 We're aiming for, you know, spring 2020 to begin BUILD  
7 implementation. That would require us to finish the Staff  
8 Proposal and also propose an implementation program for BUILD to  
9 the PUC before, of course, we would begin implementation.

10 There are a few things in the appendix that we added  
11 for BUILD that we would really like you to look at. There is a  
12 bunch of different ways that you could focus a new construction  
13 program to get emission reduction. So we've done enough review  
14 in terms of how we would calculate incentives using our  
15 standards performance compliance software. But you know it  
16 actually -- it already does hourly kWh and therms and GHG  
17 emissions. So it's a good tool to use for a new construction  
18 program.

19 In the appendix there is a listing of the baseline  
20 amount. So what a new standard-level building in different  
21 climates zones will emit, just the standard -- the baseline home  
22 that uses gas water heating and gas space heating. So those --  
23 that would be the baseline that any BUILD program would be using  
24 to prove emissions reductions.

25 And you can see the difference by climate zone, you

1 know, where it really makes sense to focus on space heating in  
2 terms of emissions of that -- of that mixed fuel standard. You  
3 know, if it's a nicely built house but it uses gas versus water  
4 heating is constant across areas of the state.

5 We're also proposing to reduce the number of climate  
6 zones. So again because we have a little bit of money and we  
7 don't want to spend it on administration, we want to design an  
8 incentive program that really -- and, again, I think for a  
9 market transformation perspective, you want to give a limited  
10 number of signals to the builders in terms of how we value  
11 emissions reductions.

12 So we tried to organize the 16 climate zones we used  
13 in the Building Standards into climate regions. I think we came  
14 up with six that are obvious when you look at it. You know,  
15 north and central coast and the south coast and the deserts and  
16 the mountains and the Central Valley, and the emission. So  
17 we're proposing to create those higher-level climate regions  
18 based on a weighted average of where we expect new buildings,  
19 new residential construction to be built in the state. So I  
20 want you to look at that and see if there are any issues that  
21 you would have there.

22 And the other thing that we are asking a question that  
23 we would like you to give us feedback on is since we have a  
24 limited amount of money and we want to do great, big things,  
25 does it make more sense to focus a BUILD new construction

1 incentive at the individual home level, like we do with our new  
2 construction residential programs now, which we heard earlier,  
3 the incentives are calculated per home, but they're actually  
4 delivered to the builder, the production builder like as a  
5 package for all the homes in their subdivision. Do we aim at  
6 that level, do we aim higher up and ask the developers to commit  
7 to an all-electric development and provide the BUILD incentives  
8 at that level. So there's a lot of different ways that we could  
9 approach BUILD and we're looking for your feedback.

10 I think what we have learned just from the little bit  
11 of analysis that we have done already is that the -- if we want  
12 to reach this, say, something not too aggressive like five  
13 percent of new construction in California with a BUILD  
14 incentive, we -- the money that we would have to spend would be  
15 ten times less than what I heard this morning for the fire  
16 rebuild. So instead of 10,000, you'd be getting 1,000, or  
17 something like that, which doesn't seem like a lot of money to  
18 ask for an induction cooktop, a heat pump water heater, a heat  
19 pump space heater.

20 So that's the challenge we have, is how should we best  
21 focus BUILD to do the right things and pilot things that we want  
22 to scale for new construction, low-carbon new construction.

23 So I think that's all I have and happy to answer  
24 questions.

25 MS. MENTEN: Thank you, Martha. This is Beckie

1 Menten, Center for Sustainable Energy.

2 I'm really intrigued by the question of incentives,  
3 financial incentives versus technical assistance. When I was at  
4 [Marin Clean Energy] and we were administering multi-family to  
5 low income, we found by and large that developers were much more  
6 interested in engaging with technical assistance than rebates  
7 because, as you noted, it was such a small portion of total  
8 project cost that they didn't know where to start, they didn't  
9 know how to evaluate, they couldn't pull together financial  
10 models that would help get engagement from the C suite  
11 (phonetic), so I think that's really compelling.

12 MS. BROOK: Um-hum.

13 MS. MENTEN: One other thing I've recently learned  
14 while trying to convince a developer to avoid natural gas  
15 construction to an entirely new planned development is that they  
16 have a lot of concerns about how homeowners are going to be  
17 willing to buy into the homes. However, if they were able to  
18 get [California Environmental Quality Act] recognition, that  
19 would give them some kind of benefit or an easier pathway to  
20 actually getting their development implemented through avoiding  
21 that natural gas tie-in. And if there was some assistance to  
22 help them quantify and justify that, --

23 MS. BROOK: Okay.

24 MS. MENTEN: -- that could really help them avoid  
25 lawsuits from the Sierra Club or others --

1 MS. BROOK: Okay, okay.

2 MS. MENTEN: -- who didn't want to see developments  
3 come into place.

4 MS. BROOK: Okay.

5 MS. MENTEN: So that would be something that I would  
6 consider as working with the government's office or others to  
7 see if there can be some sort of coordination to get --

8 MS. BROOK: Great.

9 MS. MENTEN: -- easy -- easy paths for development.

10 MS. BROOK: Okay, okay.

11 MR. COLVIN: Hey, Martha, Michael Colvin from  
12 Environmental Defense Fund.

13 Since we have the time line up here, I have a couple  
14 just quick process clarification questions for you.

15 MS. BROOK: Okay, okay.

16 MR. COLVIN: The first one is, as we have discussed  
17 today, the budget doesn't seem to quite add up. Are you all  
18 going to give us a revised Staff Proposal before we have to  
19 submit comments on the 13th? So that way we actually can react  
20 to an actual proposal, or are we just supposed to make something  
21 up, or what would you suggest --

22 MS. BROOK: So we don't want to reissue Staff Proposal  
23 because that would slow everything down. So I don't know, what  
24 do you want -- do you want to just -- say assume that we're  
25 going to lop off two million from both BUILD and TECH equally?

1 I don't know. I don't know how the math is wrong right now, so.

2 MR. COX: Part of your comment, part of what you could  
3 suggest is what is the right number for evaluation. Is it two  
4 million? It doesn't have to be two million. It could be less.

5 MR. COLVIN: Right, but the total needs to add up and  
6 it's not adding up right now, so I can't reflect --

7 MS. BROOK: Right.

8 MR. COLVIN: -- back on what the right amount is, but  
9 --

10 MS. BROOK: So -- so I think --

11 MR. COLVIN: -- see what your suggestion is --

12 MS. BROOK: I think you should assume that --

13 MR. COLVIN: Okay.

14 MS. BROOK: -- our original proposal, which we don't  
15 want to change, is 40-60 --

16 MR. COLVIN: Okay.

17 MS. BROOK: -- between BUILD and TECH, and that -- and  
18 that evaluation comes out equally from those.

19 MR. COLVIN: Okay. Okay. Second question, just on  
20 your second-to-last bullet point here, you say three months  
21 after a final staff proposal decision. That's not a thing. So  
22 what's the time line? Do you mean three months --

23 MS. BROOK: Not a thing.

24 MR. COLVIN: -- after the Staff Proposal that just got  
25 issued a couple -- you know, a couple weeks ago? Do you mean

1 the actual final decision adopting the Staff Proposal?

2 MS. BROOK: Yes, the -- that one.

3 MR. COLVIN: Okay, that's not clear from that. Okay.

4 MS. BROOK: Okay. So --

5 MR. COLVIN: So the intent is if the Commission, let's  
6 say, adopts something in the second December meeting, that you  
7 will then submit an implementation plan three months after that  
8 date?

9 MS. BROOK: Yeah.

10 MR. COLVIN: So it's not a final Staff Proposal  
11 decision, it's when the Commission acts adopting something?

12 MS. BROOK: Yes.

13 MR. COLVIN: Okay.

14 MS. BROOK: And you could comment back that you want  
15 it to be -- you want us to work in parallel, assuming that we're  
16 going to -- see, our issue at the Energy Commission is we don't  
17 want to do the implementation plan if we don't get approval to  
18 run the program.

19 MR. COLVIN: Sure, of course. That's fine.

20 MS. BROOK: Yeah, yeah.

21 MR. COLVIN: I just -- it wasn't clear, like there is  
22 no second --

23 MS. BROOK: Okay. Okay. Yeah, yeah.

24 MR. COLVIN: All right. Thank you so much. I have a  
25 couple of other thoughts, but I see the queue, --

1 MS. BROOK: Okay, okay.

2 MR. COLVIN: -- so I will let it go.

3 MS. BROOK: Okay.

4 MS. OSMAN: My first issue is on the target  
5 population, are the beneficiaries --

6 MS. BROOK: Yeah.

7 MS. OSMAN: -- of this programs for both BUILD and  
8 TECH, and I see in the Staff Proposal mention of statewide. And  
9 we are at the Public Advocates Office, based on the CARB  
10 regulations, the beneficiaries should be the ratepayers for gas  
11 utilities for the investor-own gas utilities, so --

12 MS. BROOK: Oh, okay.

13 MS. OSMAN: Yeah, that's --

14 MS. BROOK: We'll --

15 MS. OSMAN: -- primarily should be the targeted  
16 population.

17 MS. BROOK: Okay.

18 MS. OSMAN: The other question I have is about the  
19 incentives in the BUILD program.

20 MS. BROOK: Um-hum.

21 MS. OSMAN: I'm a bit confused whether the incentives  
22 will be at the prescriptive incentives of technology categories  
23 or is it based on the amount of GHG reduction? In like is it a  
24 dollar per GHG reduction?

25 MS. BROOK: So, yes, it's that. So what we were

1 intending is that the technology categories that save the most  
2 emissions would get the most incentives. But we -- what we're  
3 not sure of is whether we should be super granular in that, you  
4 know, or just for the sake of simplicity and implementation ease  
5 and communication with the builders and developers just round it  
6 off, like you might get -- you might deserve a little bit more  
7 in one area of the state for space heating. Should it be  
8 exactly to the fourth significant digit or should we round it  
9 off, like what -- we're not -- that's what we're not sure about.  
10 But the basic premise is that the technology categories that  
11 save the most emissions would get the most incentive.

12 MS. OSMAN: So is it by technology or by emissions?  
13 So are you paying the builder by how much emissions they would  
14 reduce below the base line or are you incentivizing --

15 MS. BROOK: No. We're proposing it's by -- that we  
16 predetermine the incentive, so we're not allowing them to do  
17 just whatever they want in the full blown performance approach  
18 and say we have saved this much emissions, give us money, again  
19 because we think that it requires more cost to the Energy  
20 Commission to enable all those calculations in the software and  
21 to support that and update that over the course of the program  
22 period. And we also think for communication and for market  
23 transformation and public awareness, including building  
24 awareness, we should say, look, this technology category is  
25 worth this much to us right now for the state of California, and

1 have a more simplified incentive approach.

2 MS. OSMAN: Yeah.

3 MR. LITH: Martin Lith, Elane Power (phonetics).

4 I am -- one of the -- I have a few questions. One of  
5 the first ones you have mentioned is the track home is your  
6 target market. I'm curious if multi-family housing is not on  
7 your radar?

8 MS. BROOK: Yeah. No, no, it is.

9 MR. LITH: Okay. Because I want to encourage the --

10 MS. BROOK: I was speaking in generalities. I'm  
11 sorry. Yeah, yeah.

12 MR. LITH: Okay. Multi-family house, especially  
13 transit-oriented multi-family housing and affordable transit-  
14 oriented multi-family housing is like a ridiculously good target  
15 market that you should be trying to incentivize as much  
16 possible.

17 MS. BROOK: Okay. Yeah. And you --

18 MR. LITH: Should be clear.

19 MS. BROOK: Okay. Yeah, and you could argue in your  
20 comments that that deserves way more than 30 percent of our  
21 focus.

22 MR. LITH: Well, it's just a paring. There's always -  
23 - there are already a bunch of incentives for them to like --

24 MS. BROOK: Okay, okay.

25 MR. LITH: -- be really efficient and -- but they

1 don't really have all the funding to supply that, so it helps  
2 everybody in that long run.

3 MS. BROOK: Okay.

4 MR. LITH: The second one is kind of paired to that,  
5 is: How much is site PV going to be associated with whatever  
6 technology that your -- that is paired with? So, you know, if  
7 like right now you can't really do electric resistance and  
8 offset it with PV, for example, for heating and claim that as  
9 like greenhouse reduction, but if in theory you could do that  
10 type of horse trading with this type of program, so I'm kind of  
11 curious where you come down on that market?

12 MS. BROOK: Well, so we are thinking about this as the  
13 building standards are still the base line. So if PV is  
14 required in the standard, we're not really thinking that -- are  
15 you thinking more about the emission reduction from --

16 MR. LITH: The emission reduction, so like --

17 MS. BROOK: -- from the coincidence of electric  
18 resistance heating and the PV on the roof or --

19 MR. LITH: Well, that if -- it's if -- if -- okay,  
20 you're doing this net zero above and beyond what the core -- you  
21 know, what the core minimum requirement is or larger than a  
22 four-story building for multi-family housing, --

23 MS. BROOK: Right, right, right, right.

24 MR. LITH: -- if you're doing that option and you're  
25 offsetting that, you know, a heat pump water heater with

1 electric -- with PV as the generating element, that is a net  
2 zero, a lot of carbon reduction compared to using the grid,  
3 right, --

4 MS. BROOK: Right, right. But what -- if --

5 MR. LITH: -- so is that coming into that -- was PV  
6 coming into that calculation and you get additional incentives  
7 because of that?

8 MS. BROOK: So right now we are thinking about the  
9 battery part of that being where you would get an incentive, but  
10 that was -- but that was --

11 MR. LITH: But batteries -- batteries use energy, they  
12 don't --

13 MS. BROOK: No. What I'm saying is that if you're --  
14 there is a little bit of coincidence with water heating and  
15 almost none with space heating. And when you have solar  
16 generating on your rooftop, --

17 MR. LITH: Does it have to be coincidence. You're  
18 just trying to reduce -- it doesn't have to be one to one. Why  
19 wouldn't it just be reduction of overall --

20 MS. BROOK: Because then it's the same as a grid  
21 metric, right, like the emission -- it's really a grid-emission  
22 intensity metric which we're planning to use anyway. So what  
23 we're saying is from an emission-reduction perspective, if  
24 you've got storage you should get extra credit. And I can see  
25 the point that for PV, when it's not already a requirement in

1 the standard you should get credit, but I hadn't thought about  
2 that till now.

3 MR. HEAVNER: Hi. Brad Heavner with CSSA.

4 I'd like to comment on what you consider to be an  
5 above and beyond measure that wouldn't happen in absence of the  
6 program. The legislation rightly says that incentives should be  
7 targeted through actions that are beyond standard industry  
8 practices. Of course you would want that. You don't want to  
9 incentivize things that would happen anyways.

10 MS. BROOK: Right.

11 MR. HEAVNER: The [Order Instituting Rulemaking]  
12 kicking off this proceeding said that the Commission intends to  
13 define that according to the list of prescriptive measures in  
14 Title 24. And I don't think that's the right metric because  
15 most builders do not use the prescriptive option. Most builders  
16 use the performance option with some of the measures that are on  
17 the list of the prescription measures are not commonly used with  
18 the performance option. Solar water heating is what's mostly on  
19 my mind. Even though it's on that list, most people don't use  
20 that list. And we should instead look at the database of  
21 compliance of what builders are actually using for Title 24  
22 compliance.

23 MS. BROOK: So I think what you're arguing for is you  
24 don't want pre-calculated incentives that are prescriptive. You  
25 want to use the software and calculate performance incentive --

1 MR. HEAVNER: Not necessarily. I think -- I don't  
2 really have an opinion on that. I'm just saying don't rule out  
3 measures that are on the Title 24 list of prescriptive measures  
4 because if builders aren't really using those measures they're  
5 not standard industry practices.

6 MS. BROOK: Oh, interesting. So --

7 MR. HEAVNER: This program can encourage it to happen.

8 MS. BROOK: So you're saying that we should give an  
9 incentive for a Tier 3 heat pump water heater?

10 MR. HEAVNER: Depending on whether it's actually  
11 standard --

12 MS. BROOK: But we are -- we are -- we're already  
13 saying we're going to do that because we're using the mixed-fuel  
14 home as the basis.

15 MR. HEAVNER: Okay.

16 MS. BROOK: Okay. So --

17 MR. HEAVNER: I mean I'm not as familiar with --

18 MS. BROOK: Okay.

19 MR. HEAVNER: -- how many -- you know, what type of  
20 heat pumps are commonly installed in new homes. But that should  
21 be the measure. You know, is it truly commonly used as a  
22 building practice today rather than what's on the prescriptive  
23 list --

24 MS. BROOK: I -- I --

25 MR. HEAVNER: -- of Title 24 measures.

1 MS. BROOK: Okay, I understand that. Okay. Thanks.

2  
3 MR. BEST: Hi. This should be easier than the  
4 previous callers.

5 MS. BROOK: That's what you think.

6 MR. BEST: I'm Kevin Best, Real Energy up in Napa.

7 So I just wanted -- as we think about the cost of  
8 greenhouse gas, it's going to change a lot over the next few  
9 years. Using some previous vernacular, curtailment was not a  
10 thing three years ago. We're on track to curtail a million  
11 megawatt hours this year, so we are all paying to get rid of  
12 renewable energy.

13 MS. BROOK: Um-hum, um-hum.

14 MR. BEST: Now the more we have the more we have to  
15 pay to get rid of. It's just the way it is. So as we build  
16 we're developing several power to gas plant, so as we put that  
17 renewable electricity into the gas pipeline and pull it out  
18 during clean peaks, running a carbon-neutral natural gas peaker,  
19 the gas grid decarbonizes, but your cost of renewables is going  
20 up. So we're electrifying to put in more renewables and it's  
21 not perfectly efficient to take that renewable electricity, put  
22 it in the gas grid, burn it, and then get it back to that  
23 appliance.

24 So I would just think about your costs as we are  
25 running pell-mell into the vertical neck of the duck here with

1 all these appliances.

2 MS. BROOK: Okay.

3 MR. BEST: Okay.

4 MS. BROOK: Yeah.

5 MR. CALDWELL: Good afternoon. Alan Caldwell,  
6 SoCalGas.

7 I'm here to be a voice for our approximately 20  
8 million customers and my question is: A third of those  
9 customers are some type of incentive or some type of a bill  
10 assistance; what is the plan to expand the diversity of voices  
11 in this proceeding?

12 I see where we're pretty aggressive here on August  
13 13th. And we talk a lot about low income, but I don't see a lot  
14 of those voices and faces here. And I know resources are thin,  
15 but I have worked in environmental justice and you have to go  
16 out there and get to churches, communities, you know, school  
17 groups, whatever it may be. Is there a plan that we can  
18 envision before the 13th that will bring more diversity,  
19 particularly low income so that their voice can be heard without  
20 a decision being made for them, without their input?

21 MS. BROOK: Okay. Thanks.

22 MS. HAINES: Hi, Martha. Thanks for this. I wanted  
23 to address a couple of things about resiliency. I have a good  
24 story like Rory. Thanksgiving a couple years ago, my  
25 electricity went out for eight hours and I was hosting 22

1 people. And the only thing that saved me was my gas stove and  
2 my gas barbeque. I was able to cut it out. And I had a natural  
3 gas generator.

4 April 8th workshop, a woman described the Woolsey Fire  
5 and her survival of that fire. Her mom was on medical  
6 equipment. A natural gas generator made sure that she was --  
7 you know, she lived. It was a matter of life of death.

8 So I think that the resiliency issue is a very serious  
9 issue. The person from Mitsubishi you know mentioned that a lot  
10 of gas appliances are electric now, but the gas stove being able  
11 to cook is critical to people surviving, being able to have the  
12 natural gas at your home so you can run a generator if the  
13 electric system goes down is critical.

14 There's also new fuel cell technologies that I think  
15 it would be really helpful if this program can help incentivize  
16 those, especially for district heating, multi-family heating,  
17 for combined heat and power. The more options that we have to  
18 be able to be grid independent and not rely on the grid, that  
19 has become more and more unreliable, is going to be really  
20 important for not only those folks that are living in the  
21 Paradises of the world, in that wildfire urban interface, but  
22 also for those folks that, you know, don't have the choice of  
23 buying their own home, they're going to be renting, and they  
24 should have that choice. That's the other issue: People should  
25 have that choice --

1 MS. BROOK: Okay.

2 MS. HAINES: -- and that we shouldn't be taking that  
3 choice away from them, of what they should have for their own  
4 use. So that's one issue I wanted to raise there.

5 The other issue is, you know, I have been hearing a  
6 lot about asthma and gas stoves killing you, and things like  
7 that. I think that -- you know the California Energy Commission  
8 has done research on this, they have found that the act of  
9 cooking itself is the primary driver of indoor air quality  
10 issues and really lack of ventilation. And it's unfortunate but  
11 as we tighten our homes, our homes don't breathe as well. And  
12 that lack of ventilation of exhausting gases from the act of  
13 cooking is really the primary driver of that. Plus now our  
14 cleaning products that we use in the home.

15 There has been a University of Texas study that was  
16 recently talked about in a couple of articles in the *Daily Mail*,  
17 things like that, that talked about the act of toasting, you  
18 know, if you want to toast your bread in the morning.

19 MS. BROOK: I love making toast.

20 MS. HAINES: I know. And they said you really need to  
21 be careful. I like to go a little blackened on my toast, but  
22 they said that produces as much particulate matter as standing  
23 next to a busy highway. It's 3,000- to 4,000 parts per million.  
24 It's a huge amount of particulate matter.

25 I don't think the CPUC wants to ban electric toasters.

1 I think we all know that we have things that we do every day,  
2 cleaning our house, using products that may have a little more  
3 [volatile organic compounds] than we like, but I think we need  
4 to keep that in perspective --

5 MS. BROOK: Okay.

6 MS. HAINES: -- in how we think about this. And we  
7 need to think about things more integrated or holistic.

8 Renewable natural gas, I know a previous person talked  
9 about that, could be carbon negative and it can tie into our  
10 leveraging getting rid of carbon from hard-to-decarbonize  
11 sectors, like the ag and waste sectors, and moving that into our  
12 building sector. And we have found that that can be a really  
13 inexpensive way of doing things. And you don't disrupt people.  
14 And you can actually -- you can get that RNG into the system and  
15 it can be used for a bunch of sectors, the transportation  
16 sector, the electric sector of the building sector, and the  
17 industrial sector. So I think we need to think more futuristic  
18 about that.

19 MS. BROOK: Okay.

20 MS. HAINES: Most people -- most scientists are saying  
21 that we need carbon-negative type technology for the future, and  
22 that mid-century, RNG can be that carbon negative, and hydrogen.  
23 Hydrogen is another one that Dr. Muniz from -- you know,  
24 President Obama's Secretary of Energy had said hydrogen is a  
25 real promising thing for us. And the previous gentleman talked

1 about how we can move excess electricity during the day.  
2 Instead of wasting it we can move that and make hydrogen, blend  
3 it into our natural gas system to help decarbonize it, or  
4 combine it with, you know, some CO2 source from the exhaust --

5 MS. BROOK: Yeah, yeah.

6 MS. HAINES: -- from a -- and make renewable methane.

7 So those are some creative things that I think we need  
8 to think about so we don't lock ourselves in and entrench  
9 ourselves into a mindset that's going to miss all these  
10 opportunities, that can work more holistically.

11 MS. BROOK: Okay. Thank you.

12 MS. HAINES: So -- um-hum.

13 MR. HINTZ: Hi. Tom Hintz of SeaHold. I'd like to  
14 make a few comments on SB 1477.

15 First of all, the main premise has been about  
16 greenhouse gas reduction. The Commission is really -- it's  
17 about choice: Electric and gas. I don't think it needs to be a  
18 choice between the two. Let the market sort that out, let  
19 consumers sort it out. Don't take gas off the table, primarily  
20 because the gas infrastructure requires customers on the other  
21 end to use it. LVCs require customers to buy it.

22 Natural gas is not just from fossil fuel sources. The  
23 previous commenter, who has said several of the things I feel  
24 are really important, if you take away all that downstream  
25 potential demand you're not going out have an access point for

1 the biogas and the biogenic gas that can be made from  
2 sustainable organics.

3 Organics aren't going away. The landfills aren't  
4 going to go away in a hundred years. You're just going to have  
5 organics. So we can digest those, we can process them. We also  
6 then have a vibrant infrastructure to deliver gas and power to  
7 gas, and then also you would eliminate the hydrogen highway.

8 What the real bottleneck is the Commission's failure  
9 to act to make organic to gas -- or organic fuels projects, gas  
10 injection, to be at a much more competitive price. They should  
11 create more interconnection points for the digesters and the  
12 technologies, and do that. You will take out more greenhouse  
13 gases, more short-lived climate change gases in a shorter period  
14 amount of time. All this degasification or pro-electrification,  
15 you're not going to move the needle for the next 10 or 20 years.  
16 Where will you put all those appliances? The new -- it's just a  
17 trend to eliminate options and choice. This is not the role of  
18 government to eliminate choice. Let the market sort it out. If  
19 you have to, have a differential in price, let the home builders  
20 do it. This is just a fig leaf to just favor the  
21 electrification.

22 Where will you get the batteries? Gas provides  
23 storage. It's dispatchable. Yes, we can move the percentage of  
24 fossil fuel lower and lower and decarbonize the gas stream. You  
25 can create a demand for that gas and allow consumers to choose

1 that. And that will immediately improve air quality.

2 When the CPUC eliminated all the plants to burn all  
3 the wood from the tree waste in the valley, that has to go  
4 somewhere. We have open burning, we have worse air quality.  
5 You want to impact the communities at risk, keep the jobs local  
6 -- because they have to harvest the trees, gas is local and it's  
7 not some factory in China making the PV. It's not somebody  
8 somewhere else. It's somebody every day, getting up, going to  
9 work, and making the gas flow.

10 Now thank you very much.

11 MS. BROOK: Okay.

12 MR. HINTZ: Oh, I have one other question.

13 MS. BROOK: Okay.

14 MR. HINTZ: Where in the world has complete  
15 electrification taken place? Berkeley someone said.

16 MS. BROOK: Not yet, not yet.

17 MR. HINTZ: All right. California likes to be first.  
18 How about we do it a little bit more thoughtfully. I don't  
19 think it's a choice between electric and gas. I think it's a  
20 choice between what we get the biggest bang for the buck on  
21 greenhouse gas reduction.

22 MS. BROOK: Okay.

23 MR. HINTZ: Please address how we can lower the cost  
24 to interconnect and get more biogas projects online, create  
25 employment. Local fuels, local demand.

1           MR. STRAUSS: Ariel from SDUA. I have a question and  
2 a comment.

3           My question is: What's in mind with the kicker for a  
4 complex emission design? I didn't see a definition or a  
5 description of that in the plan.

6           MS. BROOK: No. So I think there might have been a  
7 sentence, but you had to probably look at it -- unless it didn't  
8 even make it into the file. So -- so we basically are saying  
9 that we should probably be a little bit flexible in terms of the  
10 other for a kicker incentive. And the example I used was design  
11 a system. So it could either be, you know, combined technology  
12 where heat pump water heater, so it really efficiently heats hot  
13 water. Then that hot water goes through, you know, a radiator  
14 to also provide space heating, or it could be the example we  
15 heard this morning where the waste cooling from the heat pump  
16 water heater actually provides air conditioning. So neither of  
17 those things are routine in residential construction.

18           MR. STRAUSS: Is that in sense of a catch-all or --

19           MS. BROOK: It's a catch-all.

20           MR. STRAUSS: -- other compelling possibilities?

21           MS. BROOK: Yeah, yeah.

22           MR. STRAUSS: Okay. And then my comment is I'd like  
23 to encourage us to think broadly about the intended pilot aspect  
24 of both these programs. And I think from that perspective it's  
25 important that we open up the range of types of projects that

1 can be addressed by this.

2 MS. BROOK: Okay.

3 MR. STRAUSS: So two areas where I see a problem are  
4 the potential focus on these large builders. So if it's a focus  
5 particularly on the largest builders or there is no cap on the  
6 amount of incentive for any given builder, very likely the  
7 largest builders will just take it all.

8 MS. BROOK: Okay.

9 MR. STRAUSS: And I think that when we lose out on the  
10 opportunity to understand how other builders in the industry --  
11 and I think those other builders --

12 MS. BROOK: Okay.

13 MR. STRAUSS: -- in the industry are probably more  
14 similar to those who do the retrofits and other types of  
15 building that's not just new construction, and so I think we  
16 miss out on educating those groups and receiving data from those  
17 groups.

18 MS. BROOK: Um-hum. So you could propose that a  
19 number of builders is actually another metric that we track.

20 MR. STRAUSS: Right. Or that it's not -- that there  
21 is a cap on --

22 MS. BROOK: Yeah, yeah, yeah. A cap --

23 MR. STRAUSS: -- a cap --

24 MS. BROOK: -- on incentive per builder.

25 MR. STRAUSS: -- on incentive per builder.

1 MS. BROOK: Yeah, um-hum.

2 MR. STRAUSS: And similarly I think also focusing only  
3 on the 100-percent electric new build I think also runs into a  
4 similar problem. Because, as we saw this morning, it seems like  
5 there are a lot of consumers who are still demanding --

6 MS. BROOK: Right.

7 MR. STRAUSS: -- some gas, which also seems to suggest  
8 that once that gas has been put into a development, there are  
9 going to be other ways in which it's going to conflict in other  
10 structures. And I don't think the amount of incentive here is  
11 going to change that factor.

12 MS. BROOK: I think that's a very good point. And I  
13 would point you to the appendix that I was looking at earlier  
14 today where the base line emissions from cooking is like --

15 MR. STRAUSS: Right.

16 MS. BROOK: -- an order of magnitude or less than  
17 water heating and space heating. So it's like you're letting  
18 the enemy -- we're being perfect to be the enemy of the good,  
19 right?

20 MR. STRAUSS: Right.

21 MS. BROOK: So -- so, in other words, --

22 MR. STRAUSS: So if you --

23 MS. BROOK: -- you know, less than a hundred -- I  
24 don't remember if it was kilograms per year, or whatever -- of  
25 emissions for cooking, for gas cooking, and by saying all

1 electric, you don't get the majority of the emissions reductions  
2 for space and water heating that somebody --

3 MR. STRAUSS: Right.

4 MS. BROOK: -- would otherwise want to do.

5 MR. STRAUSS: And I think the project then misses out  
6 or the pilot misses out --

7 MS. BROOK: Yeah.

8 MR. STRAUSS: -- on reaching a wider variety of  
9 different type of systems because there is not funding in this  
10 program to actually make that decision point between --

11 MS. BROOK: Right.

12 MR. STRAUSS: -- electric and no electric.

13 MS. BROOK: Right.

14 MR. STRAUSS: You're going to make that decision  
15 because --

16 MS. BROOK: Right, and then the other --

17 MR. STRAUSS: -- you want a Viking range or a range,  
18 whatever it is.

19 MS. BROOK: Exactly, exactly. The other example would  
20 be the 10X, --

21 MR. STRAUSS: Right.

22 MS. BROOK: -- you know, solar water heating thing  
23 that it could have a back-up of electric or it could have a  
24 back-up of gas, but it's getting the 10X where a heat pump might  
25 only get 3 or 4 X, right? So --

1 MR. STRAUSS: Right.

2 MS. BROOK: -- we might arbitrarily want to cut that  
3 option off if the back-up was gas, right?

4 MR. STRAUSS: Absolutely.

5 MS. BROOK: Okay. All right.

6 MR. STRAUSS: Thank you.

7 MS. BROOK: Um-hum.

8 MR. SARTER: Hi. John Sarter with the Clean  
9 Coalition.

10 I'm really happy to see a couple of the earlier  
11 comments discussed the need for resilience, which is what I  
12 pointed out earlier. That's why energy storage is very  
13 necessary. Energy storage doesn't have to be electric chemical.  
14 It can be a lot of different things: Hydro, mechanical. So  
15 there's a lot of different technologies there.

16 But I want to put on a different hat. I am also a  
17 designer, builder, developer of zero-net-energy and zero-net --  
18 or net-positive-energy buildings. And the absolutely lowest-  
19 hanging fruit is creating efficiency in the thermal envelope of  
20 building.

21 MS. BROOK: Uh-huh.

22 MR. SARTER: And then as one of the other comments  
23 suggested that you can create internal sources of pollution that  
24 you have to address, so the answer is you put in heat-recovery  
25 ventilation --

1 MS. BROOK: Right, right.

2 MR. SARTER: -- which helps save energy. It creates a  
3 much healthier indoor environment overall. But I didn't see  
4 that there are were any incentives necessarily being attributed  
5 to that.

6 MS. BROOK: So there was supposed -- there should be a  
7 category under space heating and space cooling, or maybe it's  
8 just space heating for envelope efficiency.

9 MR. SARTER: Okay, great.

10 MS. BROOK: And that's where that would get captured,  
11 but --

12 MR. SARTER: Okay. It's also thermal-energy storage,  
13 essentially.

14 MS. BROOK: Right. And then there was the kicker  
15 incentive for thermal-energy storage.

16 MR. SARTER: Okay, that's good to know, yeah.

17 MS. BROOK: Yeah.

18 MR. SARTER: And, you know, it's -- the other  
19 technology that's coming forward that I haven't heard mentioned  
20 for storage is vehicle-to-building energy. And that's  
21 technology that is about to be deployed in the market beginning  
22 in 2020. I'm bringing a system in. I think it holds a lot of  
23 promise as well. So you can really start to value stack these  
24 different sources. Your vehicle is your energy storage. It's  
25 your transportation, it moves goods, et cetera.

1 MS. BROOK: Um-hum, um-hum. Okay.

2 MR. SARTER: Yeah.

3 MS. BROOK: Great.

4 MR. LITH: Yeah. Hi, Martha. My first comment was to  
5 keep things simple in terms of incentives. So I was actually  
6 going to make a comment in favor of doing a per-building  
7 incentive, --

8 MS. BROOK: Right.

9 MR. LITH: -- especially on new build.

10 MS. BROOK: Right.

11 MR. LITH: I just heard Ariel's arguments for doing  
12 things piecemeal and leaving a gas option in houses. And those  
13 are interesting. So I'm --

14 MS. BROOK: Yeah, I feel the same way. I'm very --

15 MR. LITH: I can see arguments on both sides of that.

16 MS. BROOK: Yeah, yeah.

17 MR. LITH: But the idea of incentivizing stoves, for  
18 instance, and then incentivizing the heat pump, it seems  
19 redundant. What you really want to do is get people to think  
20 about how to build a carbon-free home. So that was the argument  
21 in terms of that.

22 The other thing is I just wanted to -- I know this is  
23 repetitive. I heard you listening to me but talk about focus on  
24 market transformation. So you made a comment maybe ten  
25 commenters back about how combining heat pumps with storage

1 could lead to greater sort of efficiency in reducing greenhouse  
2 gas and by doing load shifting. And maybe that was worth  
3 greater incentives.

4           And my thoughts about that is that it's just -- when  
5 you start to think about how to optimize each incentive, you're  
6 getting away from the larger vision of market transformation,  
7 which is really about growing the market and not worrying too  
8 much about whether you have optimized each investment but  
9 whether builders are more familiar with the technology,  
10 customers are demanding the technology, installers know how to  
11 install it and are recommending the technology.

12           And so when you come from it from that perspective, I  
13 think it's a much simpler problem, that you don't get caught up  
14 in all of the sort of arcane calculations of optimizing each  
15 installment, --

16           MS. BROOK: Yeah.

17           MR. LITH: -- but rather you think about how can I  
18 really get this market ball rolling. And then you let the  
19 market take care of it, --

20           MS. BROOK: Yeah.

21           MR. LITH: -- because those people will optimize.

22           MS. BROOK: Right.

23           MR. LITH: When the technology is more likely  
24 available, people for whom it's more optimal will look around  
25 and say, hmm, this is an option now for me. They might not have

1 thought about it before. So you achieve the same ends.

2 MS. BROOK: Right.

3 MR. LITH: But I think you have a much more simple  
4 public policy proposition and much more simple aims. And you  
5 don't have to get caught up in thinking about -- and to that  
6 end, the metrics I noticed should be focused really on building  
7 markets and building different market segments. It's not just  
8 one market obviously.

9 MS. BROOK: Okay.

10 MR. LITH: There's going to be lots of different  
11 segments, both climate zone and housing type and income levels,  
12 and such. And tracking, not just how you're doing in those  
13 segments but also whether people are -- are liking the  
14 technology, whether they're recommending it to neighbors and  
15 those kinds of things.

16 MS. BROOK: Okay.

17 MR. LITH: Customer acceptance. So, yeah, that's my  
18 big comment, --

19 MS. BROOK: Okay.

20 MR. LITH: -- is don't get too caught up on optimizing  
21 --

22 MS. BROOK: I appreciate that.

23 MR. LITH: -- energy savings because that's not the  
24 point. The point is that in a sense you get to our -- our goal  
25 is we're going to need to have a whole lot of us, and so it's

1 going to have to not just be where it's optimal but everywhere.

2 MS. BROOK: Yeah, and I agree with you, and I think  
3 that's definitely the -- those are the two ends of the scale  
4 we're trying to balance is --

5 MR. LITH: Yeah, market transformation, market  
6 transformation --

7 MS. BROOK: Well, and I think that there is a real --  
8 and especially if you look at the history of the Energy  
9 Commission where we spend a lot of money giving all these  
10 options to builders so that they have various ways to comply  
11 with our code, and so it would be natural for us to say, okay,  
12 well, now we'll give you lots of options for a new building  
13 incentive, but at the same time I completely agree with you that  
14 really we want that whole building to be low carbon. And if you  
15 just did these things, these very limited number of things, we  
16 would consider you low carbon, so we should just give you that  
17 incentive and forget about all the math, so --

18 MR. LITH: Well, I would aim for the people who most  
19 benefit because they're the most likely to adopt early.

20 MS. BROOK: Right, right.

21 MR. LITH: But in the end I'm not so concerned about  
22 whether the next person I give an incentive to was the perfect  
23 person so much as whether that increases the chances of yet  
24 someone else adopting and yet someone else adopting.

25 MS. BROOK: Okay, okay. All right. Thank you.

1 MR. NESBITT: George Nesbitt, HERS rater.

2 So the people's republic of Berkeley could not  
3 implement the HERS rating system to educate the citizens for  
4 fear that the State was going to force them to replace their  
5 single-pane wood windows. Yet they can force everyone to have  
6 an all-electric new home. And I was born in the city of  
7 Berkeley, so I can -- I can criticize it.

8 So if you're going to do an all-electric program, are  
9 you going to incentivize projects in Berkeley if they're  
10 required to be all electric?

11 MS. BROOK: Yeah, I think we would, because we're  
12 still saying that the mixed-fuel home is the base line.

13 MR. NESBITT: Yeah.

14 MS. BROOK: Yeah.

15 MR. NESBITT: You know, I think we -- one of the  
16 problems with so many of our programs is we're always so  
17 technology-widget focused.

18 MS. BROOK: Um-hum.

19 MR. NESBITT: The reality is we need to -- someone on  
20 WebEx asked what's the role for the architect. And, as I said  
21 earlier, both new construction and existing has a lot of the  
22 same problems. You could take a good design and bad  
23 construction can ruin it. You can take a bad design,  
24 construction -- construction might be able to save it. New  
25 Building Institute's got lots of data, you can show that, you

1 know, basically similar buildings or similar uses have as wide  
2 range as new buildings of energy use. So the better ones had  
3 better design. They had better construction. We know things  
4 like commissioning is very vital.

5 So I think we need to really focus more -- if you  
6 teach an architect how to design a good building, and they do it  
7 on every building as opposed to, well, we got this project, we  
8 got to get ten percent better than code to get this incentive or  
9 to meet this CTAC or whatever requirement, you know, what have  
10 you done, the earlier we get involved in projects the easier it  
11 is to shift and to come up with better decisions and not have it  
12 value-engineered out. So if we can educate architects, general  
13 contractors, contractors, trade people, if we can get them to  
14 learn how to do their job right and well, and to make good  
15 choices and implement, that emergency water heater situation may  
16 actually be a better replacement and not just a slap -- slap --

17 MS. BROOK: Well, and that's what we're -- that's  
18 exactly what we're trying to do --

19 MR. NESBITT: So that -- and --

20 MS. BROOK: -- with the technical assistance portion  
21 of the BUILD program.

22 MR. NESBITT: And that would be market transformation,  
23 --

24 MS. BROOK: Okay.

25 MR. NESBITT: -- because we've got -- every day

1 there's' retrofits. Whether it's single measure, multiple  
2 measure, additions, it's happening. We just -- we live in this  
3 world of a program and six-percent participation rate, and,  
4 well, what's the rest of the market doing.

5 MS. BROOK: Yeah.

6 MR. NESBITT: You know, maybe we need to incentivize  
7 pulling a permit on existing buildings more. That's the  
8 incentive, for you to pull the permit. What you do, we almost  
9 don't care.

10 MS. BROOK: Okay, all right. Thanks.

11 MS. YARNALL LOARIE: Good afternoon. My name is  
12 Jessica Yarnall Loarie and I represent the Sierra Club and the  
13 Law Program.

14 I just wanted to make a quick comment that I was  
15 heartened to hear in your presentation that you're considering a  
16 30-percent floor for low-income incentives, that potentially  
17 that number could be higher. Since I know the Sierra Club and  
18 other groups have commented that certainly frontline communities  
19 don't deserve to not see these incentives and it would be  
20 important to ensure that a good component of this program is  
21 aimed at those.

22 MS. BROOK: Okay.

23 MS. YARNALL LOARIE: I also wanted to mention there  
24 has been a lot of rhetoric today I think about gas and I think,  
25 you know, these programs, the intent seems to be about

1 decarbonization and I'm not sure that the rhetoric about gas  
2 really appropriately belongs within the four corners of this  
3 proceeding. So I think transparency and moving forward and  
4 looking at, you know, truly decarbonized solutions would be  
5 important. And thank you for your time.

6 MS. BROOK: Yes.

7 MR. SEVERANCE: Bruce Severance, Mitsubishi Electric.

8 I wanted to just point out that we have been talking  
9 about hydrogen and power-to-gas scenarios since the mid-1980s  
10 that I can remember, and that it's been always 20 years out.  
11 Like 10 years go by, and they say, well, it's still 20 years  
12 out. So -- and I don't think that that's necessarily  
13 greenwashing. I think it's been a difficult goal to attain.  
14 And I think that some of the comments on the part of gas  
15 advocates today are valid. There should be kind of a moonshot  
16 program to try to get that scenario off the ground and achieve  
17 economies of scale. And certainly there is a role for that in  
18 California.

19 The idea of, you know, running that in peaker plants  
20 or a lot of industrial applications are going to require high  
21 heat: Aircraft, trucking infrastructure, there's so many  
22 applications where we need that as part of the solution --

23 MS. BROOK: Right, right.

24 MR. SEVERANCE: -- regardless. And it can certainly  
25 supplement the RNG, which currently it's projected can only meet

1 about 20 percent of current projected demand for 2050. And if  
2 we are really good at energy efficiency, it might meet 30 or 35  
3 percent.

4 So you know if there was a way to satisfy that where  
5 it wasn't just another prototype program but that it actually  
6 got into some kind of economies of scale to bring the cost down,  
7 I think that would be an exciting innovation and a critical part  
8 of the global solution.

9 So, you know, I don't think that those of us that talk  
10 about electrification in the residential sector are in any way  
11 adverse to that, we just don't see that happening. There is a  
12 skepticism about it. And I have heard some of my friends on the  
13 environmental advocacy side say that they think it's  
14 greenwashing, and I don't believe that it is. I think that  
15 that's a viable technology and one that we should look closely  
16 at.

17 But at the same time if we're talking about leveling  
18 the playing field, which I agree with in principle, we should  
19 look at the historic subsidiaries for gas exploration and  
20 extraction over the last 50 to 100 years. And you know now we  
21 distinctly have a problem with carbon emissions. And 85 percent  
22 of our greenhouse gas emissions are from burning fossil fuels  
23 and about 5 percent is what I understand is associated with  
24 methane emissions. And some of the estimates, there is a range  
25 of estimates on just how great a problem that is. So that's 90

1 percent of the problem, and we do need to electrify where we  
2 can.

3           So I think, all that being said, I want to agree in  
4 principle with the idea of a level playing field and perhaps  
5 other legislative initiatives that hold out an XPRIZE kind of  
6 competition for how to make power to gas really happen and not  
7 just on a prototype level. I think it would be super to see  
8 that accelerated in some way.

9           MS. BROOK: Okay. All right.

10          MR. SEVERANCE: Yeah.

11          MS. BROOK: Thank you.

12          Okay. So thank you, all, for staying for the day.  
13 And if there are no other WebEx questions, then we're going to  
14 have Rory wrap up.

15          MR. COX: Yeah. Well, thank you, all, for being here,  
16 and especially for you that haven't left already and sticking it  
17 out to the end. I think it's -- we've had a lot of really good  
18 and thoughtful discussion and comments and questions. So we  
19 really appreciate that.

20          And also just -- you know, this is -- so this is a \$50  
21 million-a-year program which, we've heard over and over again,  
22 isn't that much for the task at hand. But I do want to remind  
23 you that there are two other proceedings that -- where this kind  
24 of program is being considered, where these kind of incentives  
25 are being considered. One is the SGIP proceedings, which I

1 already mentioned, regarding energy storage and qualifying water  
2 heaters for that.

3 The other is the Energy Efficiency proceeding. And  
4 this is like the first time I have been to one of these  
5 decarbonization proceedings where the three-prong test does not  
6 come up, which is kind of amazing. But that's what's being --

7 (Comment from the back of the auditorium.)

8 MR. COX: Yeah, there is a vote Thursday. So that's  
9 being considered by the Commission right now to revise the  
10 three-prong test. So that's kind of happening in the Energy  
11 Efficiency proceeding. So that's -- that's going on as well.  
12 So this is just, you know, kind of one piece in a jigsaw puzzle  
13 of different program opportunities.

14 The last thing I want to do is thank the CEC staff for  
15 coming here and helping out. We've got the IT department, we've  
16 got a court reporter, we got the -- we have Martha, we have the  
17 analysts. And it's great. This is the second time they have  
18 traveled to one of these workshops, because we had one in L.A.  
19 in April, and they traveled to that. So I think next time we  
20 have one of these, it's definitely your turn, you know -- no.  
21 Yeah.

22 And so that -- I just wanted to make sure that, you  
23 know, that we really appreciate your coming out and helping out.  
24 And you've been excellent collaborators and partners on this  
25 whole project and it's been great, it's been a great

1 collaboration.

2 So thank you all for your participation. And thanks.

3 (Applause. The workshop was concluded at 3:41 on the p.m.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24


25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 8th day of September, 2019.



Susan Palmer  
Certified Reporter  
CERT 00124

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 8th day of September, 2019.



Jill Jacoby  
Certified Transcriber  
AAERT No. CERT\*\*D-633