

<b>DOCKETED</b>	
<b>Docket Number:</b>	25-IEPR-04
<b>Project Title:</b>	Hydrogen
<b>TN #:</b>	266063
<b>Document Title:</b>	Transcript - 72925 - Integrated Energy Policy Report (IEPR) Commissioner Workshop on Firm Zero-Carbon Resources and Hydrogen
<b>Description:</b>	7.29.25 - Integrated Energy Policy Report (IEPR) Commissioner Workshop on Firm Zero-Carbon Resources and Hydrogen
<b>Filer:</b>	Raquel Kravitz
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	9/18/2025 11:37:12 AM
<b>Docketed Date:</b>	9/18/2025

STATE OF CALIFORNIA  
CALIFORNIA ENERGY COMMISSION

In the matter of:

2025 Integrated Energy Policy        )  
Report (2025 IEPR)                    ) Docket No. 25-IEPR-04  
  )  
RE: Firm Zero-Carbon Resources       )  
And Hydrogen \_\_\_\_\_) )

IEPR COMMISSIONER WORKSHOP ON  
FIRM ZERO-CARBON RESOURCES AND HYDROGEN  
  
CALIFORNIA NATURAL RESOURCES AGENCY AUDITORIUM  
715 P STREET  
SACRAMENTO, CA 95814

IN PERSON AND REMOTE VIA ZOOM

TUESDAY, JULY 29, 2025

9:30 A.M.

Reported by:  
Elise Hicks

APPEARANCES

COMMISSIONERS

Siva Gunda, Vice Chair, CEC

Noemi Gallardo, Commissioner, CEC

Rajinder Sahota, Deputy Executive Officer for Climate  
Changes and Research, California Air Resources Board

CEC STAFF

Sandra Nakagawa, Director, IEPR

PUBLIC ADVISOR

Ryan Young, Deputy Public Advisor, CEC

MODERATORS

David Erne, Deputy Director, Energy Assessments Division,  
CEC

Liz Gill, Manager, Reliability Analysis Branch, CEC

Chie Hong Yee Yang, Electric Reliability Lead, Reliability  
and Emergency Unit, CEC

Jason Orta, Gas System Modeler, CEC

Max Solanki, Manager, Fuels Analysis Branch, CEC

APPEARANCES

Q&A AND PUBLIC COMMENT MODERATORS

Justin Szasz, Energy Analyst, CEC

Ning Zhang, Electric Generation Systems Specialist, Fuels  
Analysis Branch, CEC

Amanda Wong, Electric Generation Systems Specialist, Fuels  
Analysis Branch, CEC

Q&A AND PUBLIC COMMENT MODERATORS (cont'd)

Ryan Young, Deputy Public Advisor, CEC

PRESENTERS

Kurtis Kolnowski, Pacific Gas & Electric

Mandip Samra, Burbank Water and Power

Sara Elsevier, Sacramento Municipal Utilities District

Jason Houck, Form Energy

Kent Leacock, Mainspring Energy

Julia Levin, Bioenergy Association of California

Sarah Harper, Fervo Energy

Payal Kaur, Bloomberg New Energy Finance

Jeremy Hayward, Redding Rancheria

Wladimir Sarmiento-Darkin, Linde

Shailesh Topiwala, Bosch

Matt Franzen, H Cycle

Craig Klaasmeyer, Kaizen Energy

APPEARANCES

PRESENTERS (cont'd)

Jea Boodry, California Air Resources Board  
Sasha Cole, California Public Utilities Commission

Sammy Sallam, Low-Carbon Fuels Lead, Fuels Analysis Branch,  
Energy Assessments Division, CEC

Quentin Gee, Branch Manager, Energy Assessments Division,  
CEC

PUBLIC COMMENT

Caity Smith, XGS Energy

Adam Jorge, Sonoma Clean Power

David E. Park, Industry Affairs Director, Hydrogen Fuel  
Cell Partnership

Sara Gersen, Earthjustice

Tim McRae, Vice President for Public Affairs, California  
Hydrogen Business Council

Yuri Freeman, Southern California Gas Company

INDEX

	<u>PAGE</u>
Welcome	8
Sandra Nakagawa, CEC	
Opening Remarks	10
Siva Gunda, Vice Chair, CEC	
Noemi Gallardo, Commissioner, CEC	
Rajinder Sahota, Deputy Executive Officer for Climate Change and Research, California Air Resources Board	
1. Workshop Kickoff and Purpose	15
David Erne, CEC	
2. Utility Presentations on Clean Firm Capacity Needs	18
Moderator: Liz Gill, CEC	
A. Kurtis Kolnowski, Pacific Gas and Electric	
B. Mandip Samra, Burbank Water and Power	
C. Sara Elsevier, Sacramento Municipal Utility District	
Remarks/questions from the Dais	42
	51
Q&A from attendees, moderated by Justin Szasz	--
3. Senate Bill 423 Technology and Market	68
Moderator: Chie Hong Yee Yang, CEC	
A. Jason Houck, Form Energy	
B. Kent Leacock, Mainspring Energy	
C. Julia Levin, Bioenergy Association of California	
D. Sarah Harper, Fervo Energy	
Remarks/questions from the Dais	99
Q&A from attendees, moderated by Justin Szasz	115

INDEX

	<u>PAGE</u>
Public Comments	117
Welcome Back Sandra Nakagawa, CEC	125
Remarks from the Dais	126
4. Hydrogen Market Overview Payal Kaur, BloombergNEF	129
5. Hydrogen Panel	138
Moderator: Jason Orta, CEC	
A. Jeremy Hayward, Redding Rancheria	
B. Wladimir Sarmiento-Darkin, Linde	
C. Shailesh Topiwala, Bosch	
D. Matt Franzen, H Cycle	
E. Craig Klaasmeyer, Kaizen Energy	
Remarks/questions from the Dais	181
Q&A from attendees, moderated by Ning Zhang	189
6. Senate Bill 1075 Analysis	192
Moderator: Max Solanki, CEC	
A. Jea Boodry, California Air Resources Board	
B. Sasha Cole, California Public Utilities Commission	
C. Sammy Sallam, CEC	
D. Quentin Gee, CEC	
Remarks/questions from the Dais	???
Q&A from attendees, moderated by Amanda Wong	233

INDEX

	<u>PAGE</u>
Public Comments	242
Closing Remarks	246
Adjournment	248





1 available for you to submit questions.

2           We also ask that in-person attendees who would  
3 like to submit questions log on to Zoom to access the Q&A  
4 feature. In-person attendees joining via Zoom should keep  
5 device volume at zero and mute themselves to avoid audio  
6 feedback. You can also upvote a question by clicking on  
7 the thumbs up icon. Questions that receive the most  
8 upvotes are moved to the top of the queue. For any in-  
9 person attendees who cannot access Zoom, please write your  
10 question on a yellow card, which can be found at the back  
11 table of the auditorium, and bring them up to me so I can  
12 read them at the appropriate time.

13           Attendees can also make comments at the public  
14 comment section, both at the end of our morning session,  
15 before we break for lunch, and at the end of the day.  
16 Please note that we will not be able to respond to comments  
17 given at public comment today. Those are limited to three  
18 minutes per person, with one person per organization  
19 allowed to comment.

20           We also welcome written comments. Instructions  
21 on how to provide those can be found in the workshop  
22 notice. Written comments are due by 5:00 p.m. on August  
23 19th.

24           I'm now going to turn it over to Vice Chair Gunda  
25 for opening remarks from the dais.

1           VICE CHAIR GUNDA: Thank you, Sandra. Thanks for  
2 kicking off the workshop. My name is Siva Gunda. I'm one  
3 of the five Commissioners of the CEC. I'm the Associate  
4 Commissioner for IEPR this year, and also leading our  
5 resource planning activities.

6           In 2021, the SB 100 Report did a number of  
7 different scenarios to understand the value of zero-carbon  
8 resources, especially the zero-carbon firm resources. It  
9 was established in that, that, you know, with the inclusion  
10 of some of the generic zero-carbon resources in that, you  
11 could substantially reduce the need for overall resource  
12 mix. I think there's a number of advantages you have in  
13 terms of land use, the ability to diversify our resources,  
14 potentially having more inclusion of inertial mass-based  
15 resources on the system.

16           So as you think about the resource planning  
17 moving forward, the things that the SB 100 Report has  
18 really established is both the need temporal and  
19 technological diversity, and the importance of firm  
20 resources as we go into, especially over the next 10 to 15  
21 years, as you have more and more deployment of intermittent  
22 resources.

23           So I'm really glad to be joined by Commissioner  
24 Gallardo today. And so for today's workshop, much of it is  
25 legislatively driven to both study the importance of zero-

1 carbon resources, but also hydrogen, and thinking through  
2 emerging and rapidly commercializing technologies, and how  
3 to ensure that our planning and procurements take advantage  
4 of those resources.

5 I want to also thank Sandra, David, Liz, and Max  
6 for their leadership. A number of staff work on these  
7 workshops, and there's a lot of work that happens behind  
8 the scenes to make this happen, so a big thanks to all of  
9 them.

10 I want to give a shout out to our CEC presenters,  
11 Chie, Jason, Sammy, and Quentin. They're going to be  
12 presenting today. But also a big thanks to all the  
13 industry experts who are here to provide us with important  
14 information to take into account as we develop a pathway  
15 and a roadmap for inclusion of more zero-carbon firm  
16 resources on our system.

17 Again, as we think about, you know, the  
18 foundational North Star, just thinking about affordable,  
19 reliable, clean, and equitable resources, it's really  
20 important to think about in a proactive manner, you know,  
21 how do we include resources that allow for those qualities  
22 to manifest on the grid.

23 It's also really important, kind of, for us to  
24 think about is, as we talk about equity, the non-energy  
25 impacts or non-energy variables that we don't always put

1 into our planning. So typically, we optimize around  
2 greenhouse gases and the most cost-effective, kind of,  
3 distribution of resources, but oftentimes we don't have a  
4 good way to include the land-use impacts, water impacts,  
5 air quality impacts in the local communities. And, you  
6 know, the resources, studying of these resources, also have  
7 a lot of non-energy impacts which need to be really well  
8 understood. So looking forward to the conversation today.

9 And with that, I'll pass it to Commissioner  
10 Gallardo.

11 COMMISSIONER GALLARDO: Buenos dias. Good  
12 morning, everybody. It's wonderful to be here.

13 I'll just give, first, a quick thanks to Vice  
14 Chair Gunda for his leadership on this Integrated Energy  
15 Policy Report, the IEPR, that has such a major impact on  
16 all of California, even if some people don't know what the  
17 IEPR is, have never heard of it.

18 So I also want to give a big thank you to the  
19 team that put this together and enabled me to attend after  
20 explaining all the things that we're going to go over  
21 today. I'm really excited about the topics, hydrogen in  
22 particular, because it's coming up in some of the areas  
23 that I lead in terms of my portfolio.

24 So I'll also add that this year marks the 50th  
25 anniversary of the California Energy Commission, so we've

1 come a long way. We're doing so much. And the topics  
2 today will be part of our future moving forward.

3 So glad so many of you are able to join us in the  
4 room and remotely as well. Looking forward to it.

5 VICE CHAIR GUNDA: Thank you, Commissioner.

6 Before I pass it back to Sandra, I just also want  
7 to just say we have a number of people joining us  
8 virtually. And, you know, just always an important thing  
9 to note is the work we do here at CEC is only as good as  
10 the participation. And thank you for taking the time to  
11 help us be informed and move forward in the most informed  
12 and constructive way.

13 With that, back to you, Sandra.

14 MS. NAKAGAWA: Yeah. We also have Rajinder  
15 Sahota from CARB here on the dais.

16 Rajinder, do you want to make any opening  
17 remarks?

18 DEPUTY EXECUTIVE OFFICER SAHOTA: Yes. Thank you  
19 so much for the invitation to join you all today.

20 So, you know, I'm the Deputy Executive Officer  
21 for Climate Change and Research here at the Air Resources  
22 Board. I oversee some of the large planning documents,  
23 like the Scoping Plan, and then some of our large  
24 regulations such as cap and trade and LCFS.

25 For me, the workshop today really builds off of

1 the AB 32 Scoping Plan that was adopted by our Board in  
2 2022. It's jointly developed across all the agencies that  
3 are key in this space, energy being almost the center of  
4 the universe when it comes to climate policy.

5 On that note, we know that we need hydrogen. We  
6 know we need electricity. It all needs to be clean and  
7 sustainable. And we know that from the modeling in the  
8 Scoping Plan, hydrogen demand will be substantial for hard-  
9 to-electrify sectors.

10 And so when we think about hydrogen production,  
11 you know, we want to have options like renewable  
12 electricity for electrolytic and biomethane for SMR  
13 technologies. And we're also working in other spaces on  
14 hydrogen with our partners here and with GO-Biz, such as SB  
15 1075, which will really call for a variety of technical  
16 analyses related to the scaling of clean hydrogen. And  
17 some of the CARB staff will speak to that today.

18 So our goal is to make sure we're sending the  
19 right market signals for investments to continue to scale  
20 this important energy type as we transition away in a  
21 thoughtful way and an affordable way from the fossil  
22 infrastructure and fossil fuels that we've been using for  
23 decades and decades.

24 So the planning efforts such as this IEPR allow  
25 us to hear from you all and staff across the agencies on

1 any updates to the policy or technical space in this area.  
2 With that, I look forward to the discussion.

3 And thank you, again, Commissioner Gunda, for the  
4 invitation to join you.

5 MS. NAKAGAWA: All right. Thank you.

6 We're now going to go over to David Erne, Deputy  
7 Director from our Energy Assessments Division. David will  
8 be providing workshop kickoff and some background on the  
9 purpose of today's convening.

10 MR. ERNE: Good morning. As was mentioned, I'm  
11 David Erne. I'm Deputy Director in our Energy Assessments  
12 Division. And I welcome you all here today to join us for  
13 this workshop.

14 I also want to express our thanks for Vice Chair  
15 Gunda and Commissioner Gallardo, as well as Deputy  
16 Executive Director Sahota, for joining us on the dais for  
17 today's session.

18 Today is part of CEC's ongoing efforts to support  
19 resource planning by assessing clean energy resources and  
20 making that information available to all stakeholders,  
21 including resource planners.

22 California has made a substantial amount of  
23 progress on transforming its grid. In 2023, California  
24 served 67 percent of its electric demand from renewable and  
25 clean energy resources. From 2019 through 2024, we've had



1 over 4 gigawatts of fossil retirements, as well as about 25  
2 gigawatts of clean energy resources being added statewide.  
3 Incredible progress even just over the last five years.

4           The focus of that, however, has been primarily  
5 solar, wind, and four-hour battery storage. But we all  
6 know, as the Vice Chair mentioned, having a diverse set of  
7 resources and diverse portfolio is incredibly important.  
8 Because if we don't, it makes us vulnerable to supply chain  
9 issues like we saw during the pandemic, and certainly  
10 continue to see threaten the development of clean energy  
11 resources in California.

12           So we've also noted that it's an ongoing  
13 challenge for the utilities to source additional clean  
14 energy or clean firm resources.

15           (Off camera audio-video technical issue.)

16           MR. ERNE: That's okay. Are we good? Okay.

17           It's been a challenge for utilities to source  
18 this diverse set of resources, and having information helps  
19 them to be able to look at those technologies, understand  
20 how they can employ them for reducing their emissions, and  
21 supporting local reliability, which is particularly  
22 important for some of our smaller publicly owned utilities  
23 that have limited transmission, having those resources  
24 available to them.

25           So today, we actually have two -- kind of a broad

1 set of topics about clean firm resources. We're going to  
2 have a morning session, which is focused on kind of a broad  
3 set, an overview of firm resources, and that will help  
4 support our, the requirements of SB 423. And then, in the  
5 afternoon, will be a deeper dive specifically on hydrogen  
6 as potential for the electric transportation sectors, and  
7 that supports our work for Senate Bill 1075. We put them  
8 together because there's overlap between the morning and  
9 the afternoon in terms of content, makes it easier to cover  
10 it, and also grabs the broader audience for these topics.

11 As I mentioned, this morning's session is going  
12 to be on a broad set of resources. We're going to start  
13 with a panel of utilities to talk about their interests and  
14 challenges associated with procuring firm zero-carbon  
15 resources. After that, we'll cover an update on our  
16 overview of those resources that will be in our IEPR this  
17 year, as well as having a panel of technology developers,  
18 industry representatives to talk about different resources  
19 that can be available and how they're maturing.

20 In the afternoon, we're going to focus on  
21 hydrogen. It's an evolving market, many levels of  
22 opportunities available in different sectors in the state,  
23 and trying to delve in on those. We'll have Bloomberg New  
24 Energy Finance give an overview of the hydrogen market in  
25 the U.S., and that will be followed by a series of panels.

1 One will have producers, developers of infrastructure, end  
2 users of hydrogen will give their perspectives. And that  
3 will be followed by a state agency review of work that's  
4 going on around hydrogen. CEC, the Public Utility  
5 Commission, and the Air Resources Board are all  
6 coordinating on our analysis on hydrogen to try to make  
7 sure that we can look at this topic and help provide  
8 insights to all stakeholders.

9 So with that, I will kind of wrap up my  
10 introductory comments. We have a full day, a lot of  
11 information. Hope you all enjoy it, find it informative,  
12 and just remind you that we'll have multiple opportunities  
13 for Q&A, as well as providing comments during the course of  
14 the day.

15 So with that, I conclude my opening remarks, and  
16 we will turn it over to Liz Gill, who will be leading our  
17 first panel.

18 MS. GILL: All right. Good morning, everyone,  
19 and thank you, David.

20 My name is Liz Gill, and I'm the manager for our  
21 reliability analysis branch here at the CEC, and I'll be  
22 moderating our first panel on utility procurement needs and  
23 challenges with a clean firm capacity. So we will kick off  
24 the panel with Kurtis Kolnowski, the Manager of System  
25 Planning Analytics at Pacific Gas & Electric.

1 Kurtis, go ahead and turn on your camera and  
2 unmute and begin your presentation.

3 MR. KOLNOWSKI: All right. Thank you.

4 So as Liz mentioned, I'm Kurtis Kolnowski. I've  
5 been with PG&E since about 2020. I've been working in this  
6 space ever since. My group is responsible for a lot of our  
7 CAISO system modeling. We lead PG&E's engagement in the  
8 CPUC's Integrated Resource Plan proceeding, which is what  
9 I'll be talking about today. But we also, since we have  
10 this CAISO modeling perspective, we also model gas-fired  
11 electric generation for our system, and that all flows down  
12 to decarbonization. So like the System Planning Group  
13 within PG&E, it's kind of centralized a lot of the  
14 planning. There's many planners throughout the company,  
15 but we're trying to be a central hub to help coordinate  
16 with the rest of the groups.

17 So let's go into the first slide.

18 All right, so PG&E, as a CPUC jurisdictional load  
19 serving entity, we participate in their IRP process. And I  
20 think the biggest reason this makes sense is the over 40-  
21 plus, over 40 load serving entities regulated by the CPUC.  
22 And if all of us, especially the ones in the CAISO or  
23 certain areas of the CAISO, if we were all to run our own  
24 IRP separately and come up with our own assumptions, pick  
25 our own preferred resources without any consistency, it

1 would be a very difficult process to try and make some sort  
2 of consistent sense out of it.

3           And one of the things that the CPUC does is, in  
4 their IRP proceeding, they establish a common set of  
5 assumptions. They put forth a resource portfolio to start  
6 the LSE IRP planning process. And then at the end, they  
7 actually aggregate up all of the preferred portfolios from  
8 the LSEs into one bigger portfolio. And I'll cover this in  
9 a little bit more detail than I otherwise would since CPUC  
10 isn't here presenting the cover themselves.

11           So just a very high level. There are a lot of  
12 groups or organizations that participate. CPUC oversees  
13 the IRP process, like I mentioned, and they do a lot. I  
14 want to emphasize the consistent set of assumptions just as  
15 a really useful topic. Them and their consultant E3 do a  
16 lot of work to get a consistent set of assumptions that  
17 everyone can use. And that's things like what technologies  
18 are available, what do they cost, how do they operate, when  
19 are they available, everything under the sun.

20           And that's why for this workshop, it's important  
21 to engage in that proceeding to make sure that these  
22 technologies are captured and modeled there, because it's  
23 really the genesis of the whole process for planning and  
24 for PG&E and other entities.

25           Next, I'll note CEC plays a very large role in

1 this process. We're in the IEPR, talking about IEPR  
2 proceeding right now. CEC develops the load forecasts that  
3 are used for the IRP process, and also provide a lot of  
4 technical work that we're looking at. So very, very big  
5 part to play. CAISO does an assessment of the transmission  
6 upgrades needed. So CEC sends load forecasts to the CPUC,  
7 who develops these resource portfolios, sends those to the  
8 CAISO, then assesses them for transmission upgrades, and  
9 then the cycle repeats every couple years.

10 CPUC develops a portfolio every year. The LSEs,  
11 like us, develop our preferred portfolios every two to  
12 three-ish years. Technically, it's on a two-year cycle,  
13 but I think just due to some timing issues, the whole cycle  
14 process was delayed. So we have an IRP filing coming up  
15 soon. The data center, question, clean firm are all going  
16 to be of a lot of interest to, I think, all of the  
17 entities.

18 And I'll just note that the final -- there are a  
19 lot of other intervenors and stakeholders that participate,  
20 like the environmental groups, customer advocates, people  
21 advocating for various technologies, trade organizations.  
22 There are many stakeholders involved in the IRP process.

23 Okay, let's move on to the next slide.

24 So there's really three pillars that I see when  
25 optimizing these portfolios or figuring out what the energy

1 system of the future should look like here. These are  
2 very, very, very broad. You can use reliability in many  
3 different ways, local areas, system, all those. But in  
4 general, you want, where we're looking for portfolios to be  
5 reliable, sustainable, and affordable. And the question  
6 is: How do these balance out? Are there synergies between  
7 them? How do we get to a point where we're a reliable  
8 decarbonized system with also not breaking the bank?

9           And that's where these complicated simulation  
10 models come in. CPUC runs one called RESOLVE. There's  
11 others in the space, like PLEXOS or AVB, that do the same  
12 thing. But essentially, you simulate a big system, give it  
13 constraints that it needs to meet, so, say, serve this load  
14 to a one year in 10 reliability standard while meeting RPS,  
15 clean energy, and a specific GHG target. And then the  
16 model will actually go and optimize for that and pick the  
17 best resource mix.

18           And I'm saying all this as a lead-in because this  
19 is where we're starting to see the clean firm resources,  
20 the value of clean firm resources come into play, is where  
21 it can help with all three of these. So, like I said,  
22 reliability it's almost a non-starter. Like we have to  
23 make the system reliable. There are like safety and  
24 affordability issues we don't -- like if we -- if the power  
25 goes out, there can be monetary implications for like

1 business and safety implications for customers during a  
2 heat wave, getting too hot. So like reliability tends to  
3 be like the minimum that we're looking for.

4           After that sustainability, there's CARB sets,  
5 targets in the Scoping Plan. The CPUC assesses various  
6 targets for GHG emissions. We're currently on a 25 million  
7 metric ton by 2035 trajectory at the ISO system level. But  
8 those are things that can be looked at.

9           And I think affordability is a newer one. Like  
10 it's always been there, but I have a feeling it's going to  
11 take a more front and center look in the future, just as we  
12 look at, with this diverse set of resource mixes, how we  
13 can serve the load most in the cheapest manner or the most  
14 cost effective manner possible.

15           Now I'll talk a little bit about the problem and  
16 then how clean firm can help.

17           So if you wouldn't mind going to the next slide?

18           This is the CEC's 2024 IEPR Planning Scenario  
19 Forecast. So all this data, you can just find it right on  
20 the CEC's website. This is what we would expect to be used  
21 in the next IRP to, essentially, the load that needs to be  
22 served by different generators when it needs to be built.

23           I will notice, this is much faster growth and  
24 higher growth than we've seen in previous IEPR cycles. And  
25 one of the biggest reasons for that is the data center



1 forecast. It's been in the forecast for a while, but it is  
2 much larger and a much more prominent piece of the  
3 forecast. It's really driving the near-term growth.

4 In addition to that, electrification, the  
5 vehicles and buildings are the other big drivers. Between  
6 those three, you've got the vast majority of the load  
7 growth. And the reason why we're seeing clean firm be  
8 important to these is the help -- that these resources that  
9 can generate in any hour of the day or all hours of the day  
10 can -- will be generating when these new loads need the --  
11 need the demand -- or have demand. You could also install  
12 solar and storage and try to shift the energy, but then  
13 you're incurring storage losses of 15 percent. Solar isn't  
14 the best resource in the winter.

15 But yeah, so data centers, very high utilization  
16 factor, pretty flat. They need a lot of demand in hours  
17 outside the solar period. I almost like to think of them  
18 as inverse clean firm generators because they're very --  
19 like their load looks a lot like the clean firm supply.

20 Electrification, right now, most EV charging  
21 happens outside the daytime hours. We can see a lot of it  
22 overnight. There's no solar overnight. Clean firm will be  
23 generating overnight.

24 And finally, building electrification, which  
25 that's electrifying space heating, water heating equipment,

1 potentially cooking and other appliances, that mostly  
2 occurs in the winter. And that's where solar has less  
3 value.

4           So these new loads that we're seeing come online  
5 could be well served by clean firm resources.

6           Do you have my final slide? And I'll just give  
7 a -- or I have a little visualization of what this -- or  
8 where the clean firm can show benefits. Next slide,  
9 please.

10           All right, so a little data, finally. What I'm  
11 showing here, there are two bar charts and then a line.  
12 The bars are capacity factors. That's the axis on the  
13 left. It's essentially, like for an installed capacity,  
14 what percentage of that for each hour of the month -- or  
15 how many hours a month or what percentage of that capacity  
16 is being utilized in a given -- or generated in a given  
17 month. And you'll see existing geothermal plants run  
18 around 70 percent capacity factor. The new ones we're  
19 seeing estimated around 90 percent capacity factor. It  
20 varies by month.

21           And then solar is this orange line. And capacity  
22 factors are in like the 10 to 20 percent range in the  
23 winter, up into the 30s in the summer. But it's not nearly  
24 as flat and isn't -- or it isn't flat across the day or the  
25 year.

1           On the right axis, we have the 2024 CAISO  
2 emissions. So if you look at these by month, you'll see  
3 that the spring when we have the lowest -- or the -- we  
4 have a lot of hydro and low -- pretty moderate  
5 temperatures, the emissions are pretty low. Summer right  
6 now, emissions are rather high, but surprisingly -- or not  
7 surprisingly, they're not that different from the winter.  
8 And as we add more solar and storage and move more load  
9 into the winters, I would expect this curve to shift even  
10 more and you'll see more emissions in the winter.

11           This is why I think looking -- I will echo what  
12 Commissioner -- or Vice Chair Gunda said earlier, that  
13 temporal and technological diversity is important. Adding  
14 clean firm to a resource where -- or a system where you  
15 already have a lot of solar and storage has additional  
16 benefits. It can fill in the gaps in those winter periods  
17 or the periods outside the solar hours and ultimately get  
18 you to a more decarbonized system. You can really add as  
19 much solar as you want in the winter. If it only has a 12  
20 to 15 percent capacity factor, it's not going to do you a  
21 whole lot of good.

22           Other things I'll note, like you may see a couple  
23 months where the clean firm, like technology, the capacity  
24 factor, goes lower, mostly like March, May, and October.  
25 Those are the months most likely where there are

1 maintenance or outages taken, or planned outages taken.  
2 When your load is low, you have the ability to schedule  
3 when a lot of that happens. So I know for the big nuclear  
4 resources and things like that, they schedule them outside  
5 the high-demand times as well, which is why you see that  
6 fluctuation there.

7 But yeah, I won't -- I'm not going to talk a  
8 whole lot about the challenges in procuring these resources  
9 right now. Mainly what we want, what I'm looking for is  
10 getting the technologies modeled correctly and consistently  
11 in the IRP. I think we'll see, with that high-load  
12 forecast, we should expect different results than we've  
13 seen in the past, just there's more need for new resources.  
14 So it will be interesting to see what resources pop up. It  
15 will be important to understand these barriers. I think  
16 we'll talk about/hear more about later in the day, though,  
17 like ways to get geothermal in the state or imported into  
18 the state, or other resources, too.

19 But, yeah, I'll say, just these resources, just  
20 in closing, the resources that -- or the load that is  
21 forecasted to come on over the next 15 years really hits  
22 the hours where a clean firm resource could have a lot of  
23 benefit. And that's a good reason to take notice right now  
24 and why this workshop itself is very timely.

25 So that's it for my presentation. Thank you all

1 for listening to me talk your ear off.

2 MS. GILL: All right. Thank you, Kurtis.

3 Next up, we have Mandip Samra, the General  
4 Manager with Burbank Water and Power.

5 All right, go ahead and start your presentation,  
6 Mandip.

7 MS. SAMRA: Well, thank you so much. I really  
8 appreciate being here. So I'm also going to talk about our  
9 Integrated Resources Plan.

10 So previous to me becoming the General Manager, I  
11 was the Assistant General Manager of Power Supply, and I  
12 led the efforts on our IRP. So I'm going to talk about the  
13 role of clean firm resources in our IRP. So I just want to  
14 also focus on how we did our IRP before we go into it, so  
15 before I start talking about public outreach, we are  
16 regulated by the California Energy Commission.

17 We are a publicly owned utility. We have 55,000  
18 electric customers. Over 70 percent of our load is our  
19 commercial customers. We are Hollywood, so a lot of the  
20 big studios are actually housed here in Burbank, and they  
21 are our biggest load using customers. We also have our  
22 city council that approved our IRP, and Black & Veatch  
23 developed the models. We wrote the IRP. Actually, I wrote  
24 the majority of the IRP.

25 LADWP is our balancing authority. We are not

1 part of the California Independent System Operator, so we  
2 have very limited transmission. We could only bring in  
3 resources where we have contracts with LADWP to bring in  
4 those transmission -- or the resources via transmission.

5 We also don't have any, you know, resource  
6 adequacy. When we do have capacity needs, our backstop  
7 procurement is LADWP. We actually do a contract with them  
8 every single year for backstop procurement for additional  
9 megawatts if we need it. So I just wanted to give that  
10 context.

11 In terms of our IRP, I do want to highlight that  
12 we did a major public outreach for this. We had nine  
13 meetings with stakeholders that represented every facet of  
14 our community, from low-income customers to residential  
15 customers to the studios, to environmentalists to some of  
16 the city leaders, as well. We had four large community  
17 meetings, which were open to the community. We had  
18 anywhere from 10 people to 100 people attend those, and we  
19 had those in four different locations to make sure that  
20 people were able to attend from different parts of the  
21 city.

22 We did a survey, and we'll talk about the survey  
23 later. We had 952 responses, so that was pretty good  
24 compared to a couple of other places I've worked at where  
25 we had a couple of hundred responses.

1           We actually had 10 meetings with our board, so I  
2 would give updates every month in terms of what was going  
3 on. We also had a Burbank Water and Power board member as  
4 part of our stakeholder team.

5           We also had two meetings with City Council before  
6 we went for approval just to get updates on the IRP of  
7 where we were. This allowed for a very smooth transition  
8 to approval. I think between my presentation and approval,  
9 it was 15 minutes at City Council. So it was a smooth  
10 process because we had community output every step of the  
11 way.

12           So we did have a lot of data assumptions that we  
13 had to make. So this is back in 2023, so we did not  
14 include data centers during that time. But since that  
15 time, it was two years ago, we've actually had a lot of  
16 data centers come to us because Burbank has a lot of high  
17 reliability.

18           We're actually one of the highest reliable  
19 utilities in the state and part of the top five percent  
20 across the nation. We have high reliability. And even  
21 though we went through some rate adjustments, we are still  
22 one of the lowest cost utilities in Southern California.  
23 So high reliability and affordability are key reasons why  
24 data centers want to come here. So since then, we've  
25 actually had a few come talk to us.

1           And during that time, our natural gas prices were  
2 a lot higher than we forecasted, and our energy prices were  
3 correlated with the natural gas prices as well. That's  
4 just some of our data forecast.

5           Sorry, I'm just -- here you go

6           And then with renewable energy, back in 2023, the  
7 REC, the renewable energy credit, that we had forecasted,  
8 not the actual energy, was at \$44.00. I think we were in  
9 compliance period for then, so there was a big push and a  
10 high demand for it. By the end of our IRP, it was actually  
11 \$85.00. Those prices have since fallen, but we did assume  
12 those in our IRP forecast.

13           We're also part of the Intermountain Power  
14 Project, which is a coal facility now that transitions to a  
15 natural gas facility. The cost for that resource has also  
16 gone up. So everything that you see in the current update  
17 was not included in our IRP. Only the stuff that says  
18 April, May assumptions were included. So a lot of our  
19 costs have gone up since our IRP was produced, and I just  
20 wanted to highlight that.

21           The Intermountain Power Project is actually  
22 located in Delta, Utah, so it's not in California. It's  
23 adjacent to the Southern Transmission System. That is a  
24 transmission line that is 500 miles long that allows us to  
25 also bring in renewables.



1           And then, in terms of technology assumptions, we  
2 had to assume that our local reliable resource here, which  
3 is the Magnolia Power Plant, would be run by hydrogen by  
4 the time 2045 hit around. We also were looking into  
5 renewable natural gas, but there was nothing available, so  
6 we did not model for that.

7           And then with carbon capture and sequestration,  
8 we were looking into that as well, but we needed four  
9 additional acres, and that does not exist adjacent to our  
10 site right now.

11           We did include small modular reactors and also  
12 geothermal, which is not listed here, as part of our  
13 resource mix to get picked up as well. We were modeling  
14 this after the New Scale Project, which is the Idaho Lab  
15 Project at \$89.00 plus an additional \$25.00 for  
16 transmission. The project no longer exists, but there are  
17 other SMRs that are happening across the country and  
18 adjacent to where we have transmission, so we are still  
19 looking at those options, and you will see that when I go  
20 over our preferred portfolios that were picked up.

21           So these were the two selected scenarios. So  
22 most public utilities, when they submitted an IRP to the  
23 state, they selected one scenario. We actually selected  
24 two, and this is -- there's a reason why. We actually  
25 don't know what is going to happen in the future, we don't

1 know what technology is going to exist, so we wanted to  
2 have two viable paths forward.

3           So the first one was complying with SB 1020,  
4 which is, you know, getting to zero carbon a lot faster,  
5 but also including small modular reactors in the mix post-  
6 2030. This would be outside of California, adjacent to  
7 where we have transmission lines. So there are thoughts  
8 about the SMRs being built near the STS, where we have  
9 transmission, as well as an urban transmission system, and  
10 also possibly part of the Pacific DC intertie, which goes  
11 north-south, and Burbank has part ownership of that as  
12 well.

13           We also looked at LADWP's long-term transmission  
14 plan and focused on the buildout of new transmission and  
15 additional Power Purchase Agreements. And here, we really  
16 focused on geothermal and access to geothermal in the  
17 Salton Sea and at the Imperial Irrigation District. Part  
18 of the publicly available documents that are available at  
19 LADWP, when they talk about transmission planning, is a  
20 possible line that connects directly to the Imperial  
21 Irrigation District to get access to those geothermal  
22 resources.

23           So those were the two selected portfolios, and  
24 they were selected based on affordability and reliability.  
25 Sustainability was actually voted last in our ranking based

1 on our surveys and based on the discussions we had with our  
2 stakeholder group.

3           And then, this is kind of how our scorecard  
4 worked. Our scorecard was developed with our stakeholders  
5 in mind, so this was a very democratic process. So  
6 affordability was number one, as well as reliability.  
7 Given that we do run -- the studios run off of our  
8 electricity and they really rely on us to have reliable  
9 power, that was one of the reasons this was selected.

10           Affordability was also key from our residential  
11 customers, in particular in our small business club stores.  
12 We were hit hard with the rider strike and the screen actor  
13 strike, so a lot of people that used to come into Burbank  
14 no longer do, so they're not really going out to the small  
15 businesses, and so they're really focused on keeping their  
16 rates low.

17           Environmental stewardship, we are still intent on  
18 meeting all the state goals. That fell to 10 percent  
19 because that was just the ranking that our stakeholders  
20 chose.

21           Lastly, was diversification. It is mandated by  
22 SB350 that you don't put all your eggs in one basket. So  
23 we had to look at portfolios that wind, solar, geothermal,  
24 batteries, and plus solar and other items. We couldn't  
25 just put everything in the solar basket for any other

1 resources. We also looked at location of resources, making  
2 sure they're not all located in one area as well, and  
3 diversifying the size of these resources as well.

4 This is our scorecard result. So I will say, the  
5 next slide will show what we had to eradicate. So the one  
6 that was voted number one was a model run that we did with  
7 reduced demand. That was not going to happen, so we  
8 actually took that out of the mix. And we also took  
9 anything that had lower demand in it out, because after we  
10 had started the IRP, we actually had additional load that  
11 was added to our system.

12 So these were the selected scenarios based on  
13 their ranking and the scores, just so you could see them  
14 for perspective. So our first one, really says number two  
15 here, is the new transmission and additional PPAs, and the  
16 second one was meeting SB 1020 and, you know, adding SMRs  
17 to our mix, so that's why we selected those.

18 And then, in terms of projected rate increases,  
19 I'm going to tell you right now, these are a lot lower than  
20 where we're standing right now, but when we ran the IRP,  
21 these are the two additional rate increases year by year  
22 that we would have to do for 20 years. For the SMR one,  
23 it's about five percent every single year just on our  
24 energy charge. This does not include infrastructure. This  
25 does not include any technology upgrades that we're doing.

1 Just for our energy portion, it would be five percent,  
2 actually for at least 20 years. And for the new  
3 transmission and PPAs, at least four percent for our energy  
4 charge for perpetuity. We actually looked at this and  
5 pretty much go on for beyond my lifetime.

6 So that's just something to keep in perspective;  
7 in order to build a transmission, it costs money. And  
8 everything has only gone up. The geothermal resources that  
9 we did have modeled were in the \$70.00 range. We can't see  
10 anything less than \$100 right now. So these are  
11 significantly higher now than they were when we forecasted  
12 those. So it's really important to highlight the projected  
13 rate impacts, and we did talk to our city council about  
14 this as well.

15 So I'm having a little problem going on with the  
16 slides here, but this shows right here just a projected  
17 increase over time. So you can see just a portfolio cost  
18 dollar per megawatt hour and the total system cost. So the  
19 total system cost for new transmission and PPAs from year  
20 one, which is 2023, all the way to 2047 was about three and  
21 a half times the cost. And like I said, this is only --  
22 this has probably doubled since that time, so that is just  
23 something to keep in perspective. This is a snapshot in  
24 time. But when we show this to the public, I mean, it is  
25 eye-opening that everything does cost money, and it isn't

1 until 2035 that the transmission really were to be built  
2 that we could actually bring that in. So there's a delay  
3 on the transmission.

4 And now that we're looking at it, no new  
5 transmission has been built to date, so this is actually  
6 going to probably get delayed beyond 2035 if it happens.

7 Sorry, I'm just still having problems moving the  
8 slides.

9 And this is just the load mix for the new  
10 transmission and PPAs. You can see that geothermal is the  
11 one that we would start adding, and that is what increases  
12 over time.

13 You do see H2, which is hydrogen, for our  
14 Magnolia Power Project. We would bring that online in  
15 2040. The reason we would bring that online in 2040 is  
16 because Burbank has a goal of going zero carbon or zero-  
17 carbon resources by 2040. That would require a large  
18 investment, close to \$1 billion, to modify that project.  
19 That's what we're projecting.

20 The other items that you see in here are our  
21 hydro, which is our Hoover Dam project. So we still have  
22 that. That's still going on for the next 50 years.

23 Coal would be removed starting in 2025. That  
24 resource is actually shutting down in October of this year.  
25 We will no longer have coal. It will transition to natural

1 gas.

2           Solar is still a big portion of our resource mix,  
3 but you do see that natural gas on the very, very bottom  
4 disappears by 2040 and transitions to hydrogen. That is  
5 all assuming that hydrogen would actually come online.  
6 We're not quite sure if that's going to happen and when  
7 it's going to happen, but we do hope that it does happen  
8 relatively soon so we could plan for it and really figure  
9 out what the cost is going to be for that as well.

10           This is the resource mix for the SMR1. The  
11 difference that you see here is you see that the nuclear  
12 comes in starting 2030. That is probably going to be most  
13 likely delayed. There are a few projects that are, you  
14 know, being built in the Pacific Northwest, but we are  
15 looking into those as well.

16           The one that we did model in here is no longer  
17 happening, but we are still focused on that. It is really  
18 important for us to focus on clean firm resources and small  
19 modular reactors, and geothermal happen to be those  
20 resources that we are looking into. We're probably one of  
21 the few utilities in the state of California that's looking  
22 into SMRs, but we've done a lot of research on this and  
23 we're also partnering with other entities outside the  
24 state. We're looking for partnerships with private  
25 companies as well since they're looking to do this as well.

1 We're looking at data centers. We're going to need a lot  
2 more resources to come in.

3 One of the things I did not highlight that we  
4 cannot model in IRP, but we will model in the future, is we  
5 do need another tie point to bring in additional resources  
6 to Burbank. We do have a tie limit with our transmission  
7 coming into the system. So because of that, we do have to  
8 start building that and working with two entities, which is  
9 LADWP, and also, possibly we have a tie in with Edison.  
10 But with Edison, it's a different balancing authority, so  
11 we're not quite sure how that's going to work out.

12 That's all I have. Thank you very much.

13 MS. GILL: All right. Thank you, Mandip.

14 Next up, we have Sara Elsevier, the Manager of  
15 Resource Planning with the Sacramento Municipal Utility  
16 District.

17 Sara, go ahead and turn your camera on and  
18 unmute, and you can begin your presentation.

19 MS. ELSEVIER: Hi, everyone. My video, for some  
20 reason, is not turning on.

21 MS. GILL: It's okay. You can go on without the  
22 camera.

23 MS. ELSEVIER: Yep. Okay. Sorry about that.

24 Hello, everyone. My name is Sara Elsevier. I  
25 have been -- I am the Manager of Resource Planning here at



1 SMUD, and I've been with SMUD since 2018, working on long-  
2 term planning.

3 Next slide, please.

4 We got a really good overview from the last two  
5 presenters on the process of long-term resource planning,  
6 so I think my presentation will kind of add to more of the  
7 details of the planning process.

8 Here's an overview of SMUD. I know most are very  
9 familiar with SMUD, so I will breeze through these, just  
10 that SMUD is a community-owned, not-for-profit electric  
11 company, and we don't have any shareholders, and that we  
12 make decisions that are in the best interest of our  
13 customers and community.

14 We are one of the cleanest utilities in the  
15 nation, 50 percent of our power supply coming from carbon-  
16 free resources, including hydro and renewables. And we are  
17 focused on a long-term goal of zero carbon by 2030, and I  
18 will get into that more in the next slides.

19 Next slide, please.

20 This timeline shows SMUD's environmental  
21 activities, which started in the '90s, just an overview of  
22 how active SMUD has been throughout the years. We had a  
23 customer PV program that started in 1991, for example.

24 In 2004, we established our Strategic Directive  
25 9, which is an internal directive that sets internal goals

1 for our internal environmental goals for us internally.  
2 The timeline also shows that we have been in compliance  
3 with RPS goals throughout the years.

4 And one of the major decisions that our Board of  
5 Directors made was in 2020, as you can see, they declared a  
6 climate emergency and set a goal of eliminating carbon from  
7 our energy supply by 2030. Staff put together a plan to  
8 achieve this goal by 2030, and as you can see, this plan is  
9 flexible and has ups and --

10 MS. GILL: We may have lost Sara's audio.

11 MS. NAKAGAWA: Sara, if you're able to re-join,  
12 that would be excellent.

13 Maybe we'll take a one-minute break and see if we  
14 can get Sara back online.

15 (Pause)

16 MS. NAKAGAWA: Yes, Sarah, if you can try to  
17 speak even when we aren't hearing you.

18 All right, we just heard from one of our  
19 colleagues. Her computer shut down and it's restarting, so  
20 we're just going to give it another minute or so. Yeah.

21 VICE CHAIR GUNDA: I think Catherine probably can  
22 do the voiceover or no? Do you want to just wait for a few  
23 minutes, is that -- okay. All right. Thanks.

24 We have an open mic if anybody wants to come and  
25 do some jokes.

1 MS. NAKAGAWA: So I guess this is a good time to  
2 remind folks that if you do have questions --

3 VICE CHAIR GUNDA: Yeah.

4 MS. NAKAGAWA: -- from the panelists, you can use  
5 the Zoom Q&A function. We actually have no questions right  
6 now, so yours will go to the top of the queue if you want  
7 to ask any questions to any of the panelists today. And if  
8 you see questions in there that you would like to have  
9 answered, you can thumbs them up and have the upvote  
10 feature there as well. So feel free, any audience members,  
11 if you would like to ask questions to the panelists.

12 VICE CHAIR GUNDA: Yes, Sandra, as we wait, maybe  
13 I can just ask a couple of questions.

14 You know, just kind of going back, so first of  
15 all, Mandip and Kurtis, thank you so much for your  
16 presentations. We'll make way for Sara when she's back.

17 So just, Mandip, on the survey results, can you  
18 just explain -- I mean, first of all, it's super  
19 interesting, you know, the kind of using the surveys to  
20 weight the scenarios. Can you provide a little bit of  
21 context on, you know, the community participation in it  
22 and, you know, the support? And also between the ranks  
23 one, two, and three, you know, the preferred doesn't  
24 include the rank one. Could you just expand on those two  
25 while we wait? Thanks.

1 MS. SAMRA: Yes. With our survey, I think it was  
2 10 to 12 questions. They were focused on what people in  
3 our community really cared about. We actually sent a few  
4 bill inserts. It was on our website. I believe it was  
5 posted for about eight months. So we stopped. We kind of  
6 cut it off in early September so I could have all the data  
7 sets getting ready to go. We actually had a few more  
8 people respond to it, so I think it ended up being over  
9 1,000, but I only included 952.

10 But we asked questions like, you know, what kind  
11 of customer are you; are you business, residential, et  
12 cetera? We had a mix of customers, so it wasn't anyone in  
13 particular. We also asked them to rank their priority. Do  
14 you care about customer programs, do you care about EVs,  
15 things like that. But most of the questions were focused  
16 on how much are you willing to pay for the IRP and the  
17 outcome of the IRP? The majority of our responses were  
18 zero. They didn't want to pay for any of the outcome.

19 And then we asked what was important to you,  
20 reliability, sustainability, affordability, and that  
21 ranking was very, very clear. So it came out with  
22 affordability was number one by a landslide, and then  
23 reliability, and then really almost dead last was  
24 sustainability. But with us, we are stewards of the  
25 environment, we really do care. We want to meet the RPS

1 goals, but with our community, that was really not in their  
2 best interest for what they needed. They needed the lights  
3 on.

4 But we also went out with the community and  
5 talked to everybody, so we had a mixture of commercial  
6 customers and residential. It was a majority of  
7 residential customers that came with these, but we also had  
8 a lot of members of the sustainability community. We did  
9 have a couple of members from large corporations that  
10 support sustainability. Once we explained small modular  
11 reactors and how they work, they actually did not, you  
12 know, oppose it.

13 So not coming out and support is better than  
14 opposing it, so that's what we got. So actually, I really  
15 look forward to them. We went out a lot. So I was out  
16 there in the community pretty much every single week  
17 hosting meetings and inviting people to the office. I also  
18 had probably about 50 or 60 one-on-ones with members of the  
19 public to discuss the IRP as well.

20 VICE CHAIR GUNDA: Thank you, Mandip.

21 Sara is back?

22 MS. NAKAGAWA: Yeah, it looks like we do have  
23 Sara back, so we can check, Sara, if your audio is working,  
24 and you can pull up the slide deck again. Okay, Sarah, I  
25 saw a video there. If you want to unmute, then we can

1 check the audio.

2 MS. ELSEVIER: Hi. Can you hear me again?

3 MS. NAKAGAWA: Awesome. Yes.

4 MS. ELSEVIER: All right. I'm actually -- hold  
5 on one sec. All right. Can you guys hear me?

6 MS. NAKAGAWA: We're getting some feedback. It  
7 sounds like there might be two devices going where you are.

8 MS. ELSEVIER: Yeah, I got off one.

9 MS. NAKAGAWA: That's much better. Yeah, we can  
10 hear you now.

11 MS. ELSEVIER: Okay. I'm sorry about that. I  
12 have no idea what happened. That was very strange.  
13 Hopefully, it won't happen again while I'm presenting.  
14 Okay, I really apologize. You can always count on  
15 technology to do this to you; right?

16 Okay, going back to the history of environmental  
17 leadership, I mentioned that our goal is a very flexible  
18 pathway to eliminating carbon from our generation supply by  
19 2030.

20 Next slide, please.

21 Where we're headed, this is just an overview of  
22 our Zero-Carbon Plan that became our official IRP back in  
23 2022. There are five main areas that we focused on when we  
24 put the plan together.

25 Repurposing our natural gas generation. There

1 are many ways this can be achieved by replacing or  
2 repurposing our local gas generation. This is heavily  
3 dependent on reliability studies and are being updated as  
4 new solutions are proposed.

5           Increase the amount of proven clean technologies,  
6 the second area. These are technologies like wind, solar,  
7 geothermal, hydro, biomass, battery storage, and also  
8 customer and behind-the-meter solution.

9           We estimate that these two areas, these two  
10 pillars alone, could potentially get us 90 percent of the  
11 way to achieving our zero-carbon goal.

12           The third area is adopting new technologies and  
13 innovation projects where this new firm community sources  
14 come into play, kind of closing that last 10 percent gap of  
15 the pathway to reach our goal.

16           And expanding, definitely, expanding partnerships  
17 and pursuing grants and everything possible to keep our  
18 rates low and affordable as they have been.

19           And also, throughout this process, bringing our  
20 community along, maximizing our community benefits by  
21 creating new clean jobs and involving our community in  
22 every step of the way as much as possible.

23           Next slide, please.

24           Our ZCP Plan has, as folks from PG&E have already  
25 mentioned, we do have the same guardrail, affordability and

1 reliability. And that's why the plan was designed to be a  
2 flexible plan, because our priorities are these two  
3 metrics, which is why there's more than one way to achieve  
4 the goal.

5 Also, we understand that achieving the goal also  
6 depends on factors external to SMUD, such as what we have  
7 all seen in the recent months, import tariffs, tax credits,  
8 renewals, policy decisions, and the economy in general can  
9 really impact achieving this goal.

10 Next slide, please.

11 And this is a snapshot of where we are and what  
12 our progress is to date. It's an overview of our progress.  
13 We've made great progress since developing the 2030 Zero-  
14 Carbon Plan. As you can see, we have completed several  
15 projects, solar battery storage, geothermal, and wind  
16 projects. In 2021, we brought over -- we have brought over  
17 300 megawatts of renewable and energy storage projects.

18 In 2023, we added 100 megawatts of geothermal  
19 energy to SMUD's portfolio coming from Calpine's operations  
20 at the geysers. This past spring, our Solano 4 wind  
21 project came online. This project involved replacing 23  
22 old turbines with 19 new larger turbines at our Solano wind  
23 farm.

24 And this year, the SloughHouse Project, which is  
25 a 50 megawatt solar project, will be coming online locally



1 in the SMUD service territory. We also continue to support  
2 distributed solar and storage installation and launch and  
3 pilot other programs, such as virtual power plants, to  
4 reduce the use of our thermal plants.

5 As you can see, between 2026 through 2030 -- or  
6 2025 through 2030, we have a number of other projects that  
7 are in the works and development phase. And we have so  
8 many more in the pipeline that we're planning to bring  
9 online.

10 Next slide, please.

11 With all the progress in improving clean  
12 technology, like solar, wind, and geothermal, we know that  
13 the absolute zero-emission goal can't be achieved without  
14 firm clean resources. As you can see, 90 percent of the  
15 goal potentially can be achieved with those resources, but  
16 we still have the 10 percent gap. And when you add in  
17 large data centers, electrification, load growth, all those  
18 challenges really highlight the need for a firm clean  
19 resource.

20 Next slide, please.

21 Our studies have shown that the need for clean  
22 firm resources is especially important during very  
23 prolonged low solar and wind production. We have,  
24 actually, an example from our own system back in January of  
25 2022, SMUD's experience of a long weather event that

1 limited our solar production to under 10 percent of its  
2 capability for a period of two weeks.

3           We need resources that can provide inter-hour  
4 balancing firming across days, weeks, and seasons, provide  
5 ancillary services and all benefits that our natural gas  
6 resources provide today. We have pursued clean firm  
7 resources even before our ZCP, but made it a priority to  
8 follow these technologies in the last five years and will  
9 continue to do so. We have focused on long duration energy  
10 storage, hydrogen, carbon capture and sequestration, and  
11 other technologies, and we'll continue to watch these  
12 spaces.

13           Next slide, please.

14           As an example of our pursuit of clean firm  
15 resources, we supported Calpine Sutter CCS Project  
16 application for a DOE grant back in 2023. This project  
17 plans to convert the existing gas plant to include carbon  
18 capture and sequestration. The sequestration site is on a  
19 nearby storage site and doesn't require any new right-of-  
20 way, transmission, or interconnection upgrade. SMUD's  
21 interest is potentially to take off some of the energy  
22 through a Power Purchase Agreement. The project entails  
23 our estimation at this point and any following.

24           That grant application was successful and Calpine  
25 was able to secure a \$270 million grant. But

1 unfortunately, in the last few months that grant was  
2 canceled. However, as we understand it, Calpine is still  
3 pursuing developing the project and SMUD will consider  
4 terms and conditions, hopefully in 2026, and it will be a  
5 public process and we'll bring it to board for reviewing of  
6 the terms of the agreement.

7 Next slide, please.

8 What are considerations and challenges?

9 Maintaining affordability and reliability  
10 definitely are the two main challenges. We talked about  
11 some of these factors, including weather volatility that  
12 impacts renewable resource availability like solar and wind  
13 and hydro. This highlights the need for development of  
14 firm clean resources. However, technology readiness is a  
15 challenge that many new technologies are facing. They're  
16 not viable or commercially available yet. The upward cost  
17 for developing projects, including proven clean tech and  
18 new technology resources, hasn't really been helping that  
19 technology readiness issue.

20 The other challenges are also -- and also an  
21 opportunity is the regulatory framework that will help  
22 enable long-term planning and investment. Clear and  
23 consistent recognition and definition across the state  
24 agencies and environmental policies will help many  
25 technologies like CCS.

1           Also, as we transition away from carbon-omitting  
2 resources, we need to be careful and ensure reliability  
3 metrics are maintained before we completely transition  
4 away. Things like parallel operation of new clean  
5 solutions to existing resources is a way to meet  
6 reliability requirements.

7           There are a lot of clean firm resources in the  
8 works and I hope as a lot of the new changes settle down  
9 and we understand their impact, we're able to move to a  
10 more maturity state for these technologies.

11           I think that's my last slide. I'm sorry I kind  
12 of ran through this slide, worried that my computer would  
13 turn into a blue screen again. Thanks for having me.

14           MS. GILL: All right. Thank you, Sara, and I'm  
15 glad we were able to get you back online.

16           Next, we will move to dais Q&A. So if our  
17 panelists, except for maybe Sara, can turn their cameras  
18 back on, I will pass it to Vice Chair Gunda to lead the  
19 dais Q&A.

20           And as a reminder, the Q&A is still open, will be  
21 open for the remainder of the workshop, in the Zoom Q&A  
22 feature. So if any audience members have questions for the  
23 panel, just a reminder that you can drop those questions in  
24 anytime.

25           VICE CHAIR GUNDA: Yeah, thank you, Liz.

1           And first, I want to thank Kurtis, Mandip, and  
2 Sara for the remarks, really helpful information. I wanted  
3 to kind of set up a few questions and see if Commissioner  
4 Gallardo also has some questions, and then we'll open it up  
5 for Q&A. Looks like we're about 10 minutes ahead of  
6 schedule at this point, so we have a little bit of time.

7           All right, so, you know, Kurtis, maybe, you know,  
8 just kind of looking at different questions and coming  
9 back, you know, the rest of the panelists can weigh into as  
10 you see fit.

11           So, Kurtis, just on the point that you made that  
12 was really helpful in terms of the match between the load  
13 shapes and the capacity factors of like, for example, data  
14 centers and kind of how they match well, and then at the  
15 same time, the mismatch of current electrification load  
16 profiles with some of the intermittent resources, just  
17 maybe take just the data centers because it's a common  
18 theme. I know we're doing a lot of to improve the  
19 forecasting and to put some, you know, expected loads in.  
20 But are you hearing from data centers in terms of what  
21 their needs and, you know, exact -- I mean, specifically to  
22 zero-carbon firm resources, whether it's coming from  
23 supporting the load shape, supporting the RECs, supporting  
24 the goals of the specific industry, tech sector?

25           MR. KOLNOWSKI: Yeah. So I personally haven't

1 heard anything from the data centers. I know that we have  
2 a whole Task Force working on that problem, working with  
3 the data centers. I do know that like PG&E is interested  
4 in that from our perspective, like decreasing emissions and  
5 serving that load as effectively as possible. But I  
6 haven't heard anything from the data centers themselves  
7 around that.

8 VICE CHAIR GUNDA: Well, so, okay, so just going  
9 to maybe step into the reliability conversation a little  
10 bit. And I think from establishing the value proposition  
11 for zero-carbon firm resources, I mean, obviously the  
12 diversity and all is recognized, but just looking at  
13 reliability and affordability as two important guardrails,  
14 as both Mandip and Sara kind of framed. Could we just talk  
15 a little bit of, I'm going to have a long question, but  
16 tell me, you know, just kind of frame however you see fit.

17 So, one, just starting with that planning regime  
18 in terms of a 1-in-10 planning, is that adequate moving  
19 forward; right? So given that, you know, kind of the  
20 futures are constantly changing, the tails are kind of  
21 growing, is 1-in-10 paradigm still an enough planning  
22 regime? That's one.

23 And then two, in the current planning regime, do  
24 we think that we're capturing the variability of solar and  
25 wind well enough; right? So one, is the planning standard

1 good enough? Are we even capturing the variability well?

2 And then that kind of bringing it to the third  
3 point of are we adequately capturing the local and flex  
4 capacity needs as it pertains to reliability?

5 So if I take those three, so is the planning  
6 regime good enough? Are the assumptions that have solar  
7 and wind, you know, adequate? And are we looking at local  
8 and flex adequately? If I look at all those three things,  
9 you know, it just points to me the real importance of, you  
10 know, the resources in terms of those firm resources that  
11 you can call on.

12 Could you all kind of just talk through  
13 specifically through the reliability, how you're thinking  
14 about the need for zero-carbon resources? I think, Sara,  
15 you give a really good example of, you know, two weeks, you  
16 know, in 2022 having less than 10 percent of the solar that  
17 you're kind of expecting on the system. Can you three  
18 comment from your perspectives?

19 I think, Mandip, from Burbank's perspective, you  
20 have a small enough region that, you know, you have some  
21 pros, but also some cons in terms of where you depend on,  
22 versus, Kurtis, you have a very large footprint, and then  
23 the ability that both could kind of get removed in the  
24 noise, but also can provide situational difficulties,  
25 especially in flex and local issues.

1 MS. SAMRA: Yeah, I mean, I could start briefly.  
2 We did plan for 1-in-100 event happening pretty much every  
3 other year. So since I've been here, I've been at Burbank  
4 since 2021, we've had hurriquakes, it was hurricane-like  
5 winds and an earthquake. We've had the firestorm and the  
6 windstorm that just happened. We had three massive  
7 heatwaves. These are all 1-in-50 and 1-in-100 events. So  
8 our IRP was forecasted having those every two years. And I  
9 think going forward, we're going to have to have those  
10 every year.

11 We also plan for having, you know, a heatwave two  
12 weeks every September. So that was forecasted in our load.  
13 We did not go back 30 years to look at what was happening.  
14 We only went back five to six years because things have  
15 changed so rapidly.

16 The other thing that we did, too, with solar and  
17 wind is we did go back historically to see how those units  
18 were running that we own or have PPAs with, so Power  
19 Purchase Agreements, so we modeled those for future solar  
20 projects.

21 We have one solar project in Nevada that's  
22 adjacent to a mountain, so it also, it gets exposed to  
23 shade. So one of the things that this has led to is any  
24 project that we sign, we actually go and look at the site,  
25 too, before we sign it to make sure that it's pretty clear,



1 and we also look at weather patterns. So all that is taken  
2 into consideration.

3 We don't have the RA requirements because we're  
4 not part of CAISO. but having Magnolia Power Project,  
5 which is a combined cycle, resources mostly steam and  
6 natural gas on our campus, helps with our flex capacity.  
7 We actually can go ramp it up and down. In 2020, we went  
8 through major upgrades, tens of millions of dollars, to  
9 allow it to ramp up and down every five minutes.

10 MR. KOLNOWSKI: Would you like me to go next?  
11 All right, so three questions in there.

12 I'll start on the 1-in-10 planning standard  
13 first. My understanding is that's a pretty well-  
14 established in the industry. It doesn't mean planning for  
15 a 1-in-10 year. It means planning for one event occurring  
16 every ten years. And the assumptions that go into that  
17 would take -- encompass a lot more.

18 I agree with what Mandip said. Looking at more  
19 recent history can help with some of that. Like I know  
20 we've been working internally in some of our forecasting to  
21 look at more recent history, like for forecasting  
22 hydroelectric generation and things like that, because  
23 things are changing.

24 I would say that the 1-in-10 planning standard,  
25 like whether it's adequate or not itself is a determination

1 that should be made through the IRP proceeding, but the  
2 assumptions that go into that are definitely something that  
3 we should be looking at, and things we may not be  
4 capturing. The impacts of climate change could make  
5 certain events occur more frequently, so they'd be  
6 occurring -- be more likely to occur every ten years, think  
7 solar profiles, the heat waves, cloud cover, everything  
8 like that. So even if the standard is correct, we should  
9 definitely make sure that the assumptions going into it are  
10 right.

11           One thing I will note about clean firm and how it  
12 can help with reliability, we actually have been looking a  
13 little bit at just this simplified slice of data tool.  
14 That's the way that the CPUC tracks RA program accounting.  
15 And one of the things that you need for that is energy  
16 sufficiency on a peak day. I think this is really  
17 important during a heat wave. Your day three of a heat  
18 wave, your batteries are going to be fully discharged from  
19 the day before. Y

20           You need to charge all those batteries to be able  
21 to start the load. You can build a lot of solar, charge in  
22 the middle of the day, or a clean firm resource that's  
23 generating overnight, in the morning, throughout midday.  
24 You have all those hours to charge your batteries, and we  
25 can actually see bigger shifts. Like if you add a thousand

1 megawatts of clean firm, it may re-optimize the batteries  
2 to get even more benefit in certain hours where you really  
3 need it. So there's definitely work there on the  
4 reliability.

5 I sort of answered the second question on  
6 variability. I think that variability increases more under  
7 climate change. I know the CPUC is leading a big effort  
8 statewide to develop a lot of data on climate change  
9 impacts and how it could affect various things like hydro,  
10 solar load, things like that. So I would say that is  
11 definitely of interest.

12 And finally, local capacity. One of the things I  
13 believe the CAISO studies have found is just adding solar  
14 itself to any local area -- or sorry, storage itself to  
15 local areas isn't enough because you need to get the energy  
16 to those areas as well. So that's why gas plants in local  
17 areas are still a thing and still may operate above what  
18 you would expect normally. I don't know if like there are  
19 different clean firm resources that may support that more  
20 than others. Like I think geothermal resources are, you  
21 know, located in the northern and southern parts of the  
22 state, so they may not do the local thing themselves. But  
23 other resources, if they can be located in those local  
24 areas, could definitely help.

25 And I'll note just a little spoiler for our

1 comments coming on Friday on the new IRP OIR, we are  
2 suggesting that the local area reliability get more  
3 attention as we go through it, because we do see that that  
4 may be the last bastion for gas emissions, if we can't  
5 solve the local area issues.

6 VICE CHAIR GUNDA: Thanks Kurtis.

7 I don't know if Sara has anything that you want  
8 to add?

9 MS. ELSEVIER: Yeah. So definitely, we have also  
10 found that it's a really good question to ask about the 1-  
11 in-10 being still a good metric for reliability. And we've  
12 been spending a lot of time kind of, as Mandip and Kurtis  
13 mentioned, looking at historical data and really focusing  
14 on our forecasting to make sure we are capturing some of  
15 these climate change issues that we're experiencing.

16 However, that's a work in progress. We are  
17 working with consultants and industry partners to kind of  
18 look at reliability as an overall issue, so 1-in-10 is  
19 definitely part of that process. But we are focusing on  
20 different tools and different metrics, looking at a loss of  
21 load hours, and things like that, that may not be captured  
22 by the 1-in-10 metric. We are continuing to kind of follow  
23 that standard, though, definitely.

24 And also for the local capacity, we are very  
25 closely coordinated with our transmission planning and

1 operation team and our risk management team to really make  
2 sure we are following the minimum local capacity needs that  
3 these teams operate based on in our planning process. So  
4 making sure that we are meeting those requirements.

5 VICE CHAIR GUNDA: Thank you. I know  
6 Commissioner Gallardo has a question.

7 Rajinder, please let us know if you have a  
8 question as well.

9 I'll just -- if you have a short response to that  
10 so that, as so I don't monopolize all the time. In terms  
11 of -- so we talked about just the reliability, and I think  
12 there is a very clear need for zero-carbon firm resources  
13 on a variety of kind of fronts for reliability.

14 On the affordability, can both of you comment,  
15 well, can the three of you comment on this tension we have  
16 between the needs for investments and market certainty to  
17 achieve the scale and the cost effectiveness versus trying  
18 to do the most cost-effective solution today and kind of  
19 holding off on those investments? Can you just talk about  
20 how each of your companies or entities are thinking about  
21 how best to do this?

22 MS. SAMRA: I can start off on some of the  
23 infrastructure stuff that we're doing. So one of the  
24 things that we moved to was converting our 4 kV lines to 12  
25 kV lines, which allows more electrons to flow on the lines.

1 That's a short-term solution since we're also looking to  
2 build up transmission adjacent to Burbank. That was a 20-  
3 year plan. We moved it up to 10 years, and we're trying to  
4 expedite that.

5 So that's one of the things that with low-hanging  
6 fruit, it's very costly, but in the long run, it's going to  
7 help us. So that's one of the things that we did with our  
8 budget cycle this year, we moved that up.

9 The other thing is looking, you know, looking  
10 forward. We're looking at SMRs, so small modular reactors,  
11 and we're really just partnering with, talking with the  
12 Department of Nuclear Energy. We go to DOE quite often.  
13 We also want to look at all different types of  
14 technologies. So we're really focused on thinking outside  
15 the box.

16 And with hydrogen, you know, with federal funding  
17 kind of kiboshing some of the hydrogen funding here, we now  
18 have to think outside the box what we're going to have to  
19 do with this Magnolia Power Project. We're doing more  
20 efficiency improvements here. What it does is increase  
21 megawatts, reduces emissions.

22 So I think as that technology comes to fruition,  
23 we're going to keep doing that. So that's one thing that's  
24 very costly that we're doing right now, because hydrogen is  
25 currently off the table.

1           MR. KOLNOWSKI: I can add a little commentary on  
2 what we're doing in the CAISO, so two things.

3           The first, there's a lot of uncertainty. Like  
4 you mentioned, Vice Chair Gunda, there is a lot of  
5 uncertainty in which resources will come online, what  
6 they'll look like. I think just a couple years ago, like  
7 in 2022, a lot of the IRPs had offshore wind in them. Now  
8 we're kind of looking beyond that. There's some issues  
9 around cost and the generation that are coming up. That  
10 may not be the goose that lays the golden egg anymore and  
11 now we're thinking, oh, is it CCS, is it nuclear, is it  
12 geothermal, biomass, something else?

13           So I like the way that it's currently being done.  
14 The CPUC has requested that the Department of Water  
15 Resources open a solicitation for -- I believe, it's up to  
16 1,000 megawatts of geothermal. But they're very clear that  
17 it's not to be built or purchased at any cost. So there,  
18 like looking at these diverse resources, geothermal,  
19 offshore wind, other things, and getting a chance to  
20 compare the cost rather than building at any cost will be  
21 helpful.

22           The other thing I would note is the, well, the  
23 cost that we see today ideally won't be the cost that we'd  
24 be paying in 2035 or 2040. Number one, we want to see all  
25 of -- we should see all these technologies considered in

1 the IRP in 2035 and 2040. I know right now, CCS is one  
2 that is not included in the CPUC's IRP process. I know  
3 they're working on it, but we should be making decisions  
4 that far out until we have all the resources accounted for.

5 But, yeah, the other thing is just we need to  
6 make sure we understand what the cost could look like in  
7 the future. My understanding is like it may be more  
8 expensive right now to do geothermal in-state versus like  
9 Utah or Nevada. Asking the questions why, how can we  
10 bridge that gap, or can we produce that cost by the time  
11 that these resources are ready to come online would be a  
12 good way to help with affordability there too.

13 MS. ELSEVIER: For us, a very maybe similar  
14 approach. Definitely we are monitoring the challenges with  
15 costs and definitely feeling it here. We are trying to  
16 focus on lower cost solutions that have bigger impacts.

17 For example, one of our gas units, our  
18 custodian's (phonetic) gas unit, we just implemented this,  
19 basically, upgrade on this unit to turn -- to change the  
20 minimum point from 300 megawatts in that unit to 200  
21 megawatts. That would really have a huge impact in the  
22 operation of that unit. It's not completed yet, but it  
23 will be later this year.

24 So things like that, we are trying to invest in  
25 technologies and solutions that will keep us within our



1 affordable heavy guardrail as these other more expensive  
2 solutions mature. And hopefully -- like I mentioned in my  
3 presentation, that all these changes have happened recently  
4 and in such big scale. So until all of this settles down  
5 and we kind of understand the impact, we are marching along  
6 and trying to take advantage of what's available and what  
7 we can afford in the meantime.

8 VICE CHAIR GUNDA: Thank you, the three of you.

9 I'm going to pass to Commissioner Gallardo.

10 COMMISSIONER GALLARDO: Thank you. I'll try to  
11 be quick.

12 So first, I wanted to say blessing to anyone  
13 who's sneezing. I couldn't say it during the time people  
14 were talking, but I know it's cold in here. If it gets too  
15 cold, let us know. We can see if we can make some  
16 adjustments. But anyways, just know that I send you a  
17 bless you.

18 Second, I did want to emphasize for our three  
19 speakers, I really appreciate what you mentioned about the  
20 struggles addressing the climate change issues. Our chair,  
21 David Hochschild, always says that it's hard to fight  
22 climate change because of climate change. The weather is  
23 just so erratic, so extreme, so it's hard to keep up with  
24 it, let alone get ahead of it. So just want to acknowledge  
25 that we appreciate all of the diligence you're putting into

1 trying to affect change on that front, as are we.

2 Kurtis, I also had a question on the  
3 affordability. You mentioned, and it stood out to me, that  
4 it's become, it's always been important but it's become  
5 front and center.

6 And Mandip also mentioned affordability being one  
7 of the number one criteria for constituents.

8 But Kurtis, I was curious if you could speak  
9 maybe briefly on what is bringing it front and center.

10 MR. KOLNOWSKI: Yeah. Well, I think it's no  
11 secret that rates have been going up for various reasons  
12 for our customers. Not everything is within our control.  
13 Like if gas prices go up, the price of energy goes up. And  
14 I think it's becoming more front and center on our  
15 customers' minds, which means it's becoming more front and  
16 center on ours, too.

17 And like I guess what I'm wondering or looking to  
18 do on like how that could change is like, right now the --  
19 like it almost needs -- it needs to be its own pillar  
20 alongside affordability -- or sustainability and  
21 reliability going forward. Like right now, we run the  
22 models and see which is the least cost, but there may be  
23 more effective ways to do it if we consider all of the  
24 costs, like transmission upgrades, interconnection costs,  
25 all that, maybe there's a cheaper solution we can find

1 somewhere in there.

2 But, yeah, it's really driven by trying to  
3 stabilize rates and keep the prices lower.

4 COMMISSIONER GALLARDO: Okay, thank you for that.  
5 It's helpful to get the utility perspective. And then I'll  
6 just do one for each of you, since we're short on time.

7 Mandip, I was curious, you mentioned the  
8 geothermal agreements with IID. Would that be for existing  
9 power plants or new power plants? Are you able to share  
10 that with us?

11 MS. SAMRA: Yeah, we we're actually, you know,  
12 based on LADWP's transmission planning process and things  
13 that were brought up there, so it would be new projects.  
14 So, drilling in and getting new projects, you have the  
15 Salton Sea right there, and it's all in Imperial Irrigation  
16 District territory. So just having transmission  
17 accessibility there would be ideal for us. And LADWP  
18 that's on top of their list to do, so we're really counting  
19 on them to do, and that's what we model for.

20 COMMISSIONER GALLARDO: Great, thank you. I lead  
21 the Lithium Valley Vision, and so that's constantly on our  
22 minds, the potential for geothermal lithium development out  
23 there, additional development too. Thank you.

24 And then, Sara, you mentioned the DOE grant that  
25 Calpine lost for the Sutter Project. But I missed -- I

1 think you were talking a bit about the solution, could you  
2 -- but I didn't catch it. Could you state that again?

3 MS. ELSEVIER: I just mentioned that even though  
4 that grant was canceled, the other tax credits, I believe  
5 the 45Q is still in place, and Calpine is still moving  
6 forward with developing the project. So they are, I  
7 believe, in the front-end engineering phase. And we are --  
8 I think our -- the timeline has shifted, obviously, with  
9 all the changes. As of now, they're in-service date or  
10 operational date is 2029. And I believe the terms and more  
11 details of the project and a potential contract for SMUD is  
12 coming in next year sometime.

13 COMMISSIONER GALLARDO: Okay. It's good to hear  
14 that you can still move forward. We know a lot of the  
15 federal changes are impacting everyone, so that's why I was  
16 curious.

17 And, Sara, I also wanted to highlight that I  
18 appreciated the considerations and challenges you had at  
19 the end. I think that type of information and insight is  
20 really helpful for us, so I won't ask you any questions  
21 about it so Rajinder can have a chance to ask questions,  
22 but thank you to all three of you.

23 VICE CHAIR GUNDA: Rajinder, do you have any  
24 questions?

25 MS. NAKAGAWA: No? All right. Yeah, then we

1 will move on to our next panel. Thank you so much to Liz  
2 and all the panelists who are part of our utility  
3 presentations panel.

4 We'd now like to invite up Kent, Julia, and  
5 Harper to please take a seat up here at the front, in front  
6 of the dais here.

7 And then we will also be led by our moderator.  
8 She is the Electric Reliability Lead here with the  
9 California Energy Commission, and she will be kicking us  
10 off. But we'll just take a minute or so to allow our  
11 panelists to connect their laptops and get their video up  
12 and going here.

13 So, yeah, Kent, Harper, Julia, if you're able to  
14 come up, that would be great.

15 MR. YANG: All right. Good morning, members of  
16 the dais, panelists, and participants joining us online and  
17 in the room. My name is Chie Hong Yee Yang. I am the  
18 Electric Reliability Lead for the Reliability and Emergency  
19 Unit here at the CEC. Welcome to today's panel on Clean  
20 Firm Resources where we will focus on updates to the SB 423  
21 firm Zero-carbon resources and featuring a discussion panel  
22 with various technology developers and trade organizations.

23 As California advances towards its SB 100  
24 targets, clean firm, and dispatchable resources are  
25 critical for ensuring grid reliability and supporting

1 renewable integration. We'll begin the session with a  
2 staff presentation on updates to the SB 423 Firm Zero-  
3 Carbon Resources Report presented by yours truly. This  
4 presentation will be -- will set the stage for our panel  
5 discussion by providing the latest findings and research  
6 framework, guiding the evaluation of these technologies.  
7 The insights from today's conversation will help refine and  
8 strengthen the findings in the upcoming IEPR update on SB  
9 423.

10 Next slide, please. Let's do one more.

11 SB 423 directs the CEC to assess firm zero-carbon  
12 resources. The first report was published in March of this  
13 year, and future updates will be incorporated into each  
14 IEPR cycle. This ongoing assessment ensures that the state  
15 stays ahead and updated on the development of these  
16 emerging technologies, as well as the challenges and  
17 opportunities associated with them.

18 Next slide, please.

19 Firm zero-carbon resources are defined by their  
20 ability to deliver steady power, even during extreme  
21 events. They exclude standalone wind and solar, but  
22 include technologies like hydrogen storage, reservoirs, and  
23 natural gas with carbon capture. The key requirement is  
24 that these resources be dispatchable or have base load  
25 capability with the flexibility to operate for multiple

1 days if needed.

2 Next slide, please.

3 This framework outlines how the assessment will  
4 be updated for future IEPR reports. It will incorporate  
5 technological advancements, policy updates, and market  
6 changes to ensure a comprehensive understanding of firm  
7 zero-carbon resource potential. Coordination with  
8 stakeholders and agencies remains a central part of this  
9 process.

10 Next slide, please.

11 The key technologies that we're tracking include  
12 long-duration energy storage, hydropower, geothermal,  
13 bioenergy, hydrogen, and generation with carbon capture.  
14 Resources like nuclear fission and fusion are also explored  
15 as part of this assessment. They're highlighted in green  
16 due to challenges that are unique to nuclear resources,  
17 having a nuclear moratorium, and fusion resources being  
18 very early in their development.

19 Next slide, please.

20 Starting off with long-duration energy storage,  
21 we'll do a couple highlights here. Long-duration energy  
22 storage include technologies such as iron-air, zinc hybrid  
23 cathodes, and flow batteries. These technologies are in  
24 their early commercial or pilot stages, and they range  
25 anywhere from 1 to 10 megawatts. These resources are

1 supported by initiatives like AB 209, CPUC's Central  
2 Procurement, and DOE's LDES Earthshot. While high capital  
3 costs and limited bankability remain challenges, these  
4 resources have strong potential during multi-day net peak  
5 events or periods of low renewable generation.

6 Next slide, please.

7 Conventional geothermal is already commercial.  
8 While enhanced geothermal systems are still at  
9 demonstration stages, innovations like the FORGE project,  
10 horizontal drilling, and reservoir monitoring are advancing  
11 enhanced geothermal development. Despite high upfront  
12 costs, site-specific geology issues, and long lead times,  
13 EGS has the potential to unlock more than 100 gigawatts  
14 nationwide, while with significant opportunities in  
15 California's Imperial Valley.

16 Next slide, please.

17 Bioenergy technologies include renewable natural  
18 gas with steam methane reformation, landfill gas,  
19 gasification, and methane pyrolysis. Emerging trends  
20 involve biochar production, modular biomass gasifiers, and  
21 co-firing with carbon capture for additional benefits such  
22 as net negative emissions. While feedstock supply chains  
23 and air quality pose concerns and challenges, bioenergy  
24 offers flexibility and the ability to utilize forest and  
25 agricultural waste.



1           Next slide, please.

2           Carbon capture is considered in the post-  
3 combustion combined cycle generation, which is already  
4 commercial, and these are point source capture technologies  
5 that use absorption, adsorption, and membranes. Federal  
6 45Q tax credits, LCFS credits, and DOE combined carbon  
7 capture hubs support the development of these technologies,  
8 but these do come with high costs and exciting risks.  
9 Carbon capture does have a strong potential for industrial  
10 and power sectors.

11           Next slide, please.

12           We heard a little bit about small modular  
13 reactors today in the first panel. So small modular  
14 reactors, also known as SMRs, are pre-commercial or in  
15 their early demonstration stages. There's designs, such as  
16 the sodium sodium-cooled reactors, as well as the  
17 pressurized light water SMRs who are leading the  
18 development. Federal funding programs, NRC pre-licensing,  
19 and loan support help advance these technologies.

20           Although California's nuclear moratorium and  
21 waste handling pose barriers and concerns, SMRs offer  
22 modular scalability, potential for hydrogen production or  
23 co-production, and co-location with renewable energies.

24           Next slide, please.

25           This slide shows a couple of the cost curves that

1 will be included in this IEPR update. These are sourced  
2 from the 2024 NREL Annual Technology Baseline, or ATB. The  
3 example that we have here is just the utility scale battery  
4 storage. We see that costs are forecasted to come down  
5 over the horizon, so we'll keep an eye out for that.

6           These baseline forecasts and many developers may  
7 already have curve costs that are actually ahead. So we'll  
8 hear from a couple of the developers, and they may actually  
9 be much more advanced, and the cost may be much lower than  
10 what these curves show.

11           Next slide, please.

12           On this assessment, we see the need to continue  
13 investing in demonstration projects and early deployment of  
14 promising technologies. Some solutions require broader  
15 coordination with additional import capabilities needed to  
16 access firm zero-carbon resources outside of the state.  
17 Coordinating with permitting authorities is important as  
18 these technologies are new to the market. These efforts  
19 are critical in accelerating the commercialization of these  
20 firm zero-carbon resources.

21           Next slide, please.

22           Thank you so much for your time. That concludes  
23 my update.

24           We will now move forward with our panel  
25 discussion. Our panelists represent leading technology

1 developers and trade organizations. They will share their  
2 perspectives on the state of these resources, the latest  
3 advancements, and what policy and market mechanisms are  
4 needed to scale them effectively.

5 With that said, I would like to introduce Jason  
6 Houck. He represents Form Energy.

7 Jason, if you could please unmute and show your  
8 camera? There you are.

9 MR. HOUCK: Hi, everyone. Thank you so much for  
10 having me today. I'm grateful to have this conversation  
11 and to be here. I'm Jason Houck. I'm a Policy Director at  
12 Form Energy, and I'll tell you about the 100-hour duration  
13 iron-air battery we are bringing to the market.

14 Next slide, please.

15 So we're commercializing a technology that is a  
16 reversible rust battery and has a duration of 100 hours.  
17 So that means we can discharge our battery at rated  
18 capacity for 100 hours. And we call this class of energy  
19 storage multi-day storage. The chemistry is rather simple.  
20 We're taking, when we discharge the battery, we're taking  
21 metallic iron, and we are converting that into rust or iron  
22 oxide and releasing electrons. And when we charge the  
23 battery, we're taking low-cost energy and reversing that  
24 process. So we're turning iron oxide or rust back into  
25 metallic iron.

1           It's a very stable and safe chemistry. It's been  
2 known for a very long time. It's just never been  
3 commercialized before because it's not great for vehicles.  
4 It's not intended for small-scale applications, but it's  
5 perfect for the electric grid where what really matters is  
6 low cost, safety, scalability, and bringing technologies to  
7 the grid that are durable and can last over time.

8           Iron-air chemistry is inherently very low-cost  
9 because iron itself is incredibly abundant and available on  
10 every continent on Earth. It's also very safe. There's no  
11 mechanism for thermal runaway in our battery, and the  
12 water-based electrode we use also acts as a fire retardant.  
13 Iron itself is scalable. We're benefiting from the  
14 existing scale of the iron supply chain, and that also  
15 helps us ramp up our supply chain very quickly.

16           Next slide, please.

17           As an example of how fast we're moving, this is a  
18 photo of our manufacturing plant in a town called Weirton,  
19 West Virginia. We broke ground on this plant in 2023. We  
20 began production of our batteries in 2024. We already have  
21 about 400 people employed at that site today, and we'll  
22 continue to grow that. The batteries we're making are made  
23 right here in the U.S. Our supply chain is almost entirely  
24 domestically sourced.

25           You know, why West Virginia? Well, this

1 particular site was once the site of one of the largest  
2 steel mills in the country. And, you know, there's  
3 incredible access to the resource, just the physical  
4 infrastructure and the workforce with the skill sets that  
5 we need to work in manufacturing, and specifically with  
6 iron-based products.

7 I'll just point out that to get a better sense of  
8 what our technology looks like, on the bottom below the  
9 factory image on the left there, there's a picture of our  
10 iron anodes, so that's the part of the battery that really  
11 is most active. We'll put several of those anodes into the  
12 cell. That's the second image on the bottom left. Those  
13 cells are about three feet tall, three feet wide. We'll  
14 bundle about 36 cells into a module. That's the third  
15 image on the left. Modules are about the size of a small  
16 car, and those will be deployed in enclosures. And those  
17 enclosures will look, from the outside, very similar to any  
18 other energy storage or battery energy storage projects in  
19 the grid today. And that's what the rollout of the factory  
20 is, the enclosures filled with those cells and modules.

21 Last image, please.

22 We've announced a number of commercial projects  
23 across the U.S. And I'll note that in the coming months,  
24 we're going to be deploying our first and delivering our  
25 first batteries to our first utility customer, which will

1 be Great River Energy, a cooperative utility based in  
2 Minnesota. That will be a true technology pilot of 1.5  
3 megawatts, 150 megawatt hours.

4 We're also incredibly grateful to have received a  
5 grant from the Energy Commission to help us deploy our  
6 first project in California, which will be at PG&E's  
7 Mendocino Substation in Redwood Valley. That project is  
8 slated to be online next year, in 2026. We're grateful for  
9 the support from both the state and PG&E to advance this  
10 project forward.

11 The rest of these projects will all be in the  
12 next year plus. We're basically on the cusp of  
13 commercial -- our first commercial deployments and then  
14 rapidly scaling, you know, to much larger projects.

15 And I'll note that we have 14 gigawatt hours of  
16 project energy capacity announced. To put that in context,  
17 California doesn't yet publish energy capacity of all the  
18 batteries that have been deployed in the state, but it's  
19 probably roughly around 60 gigawatt hours. So these  
20 initial projects alone are about a quarter of stored energy  
21 capacity that California has on its grid.

22 I'll leave it there and I look forward to the  
23 conversation. Thank you.

24 MR. YANG: Great. Thank you, Jason.

25 We'll move over to our next panelist to introduce

1 himself. Kent Leacock represents Mainspring Energy.

2 MR. LEACOCK: Good morning. I will say,  
3 Commissioner Gunda and Commissioner Gallardo, I'm Kent  
4 Leacock. I'm in charge of public affairs, regulatory  
5 relations, and government relations for the western half of  
6 the U.S. for Mainspring Energy, a California-headquartered  
7 manufacturer of unique technology called a linear  
8 generator.

9 Next slide. Thank you.

10 The meat of the linear generator is two 125 kW  
11 compression technologies that take these oscillators and  
12 squeeze whatever the air fuel mixture is, whether it be  
13 ammonia, some sort of methane, any kind of waste gas,  
14 natural gas, or hydrogen. The technology is completely  
15 fuel flexible without any modifications. Through power  
16 electronics and software, the technology can react  
17 instantaneously to the change in energy density of a  
18 different fuel. So for example, if you're zero carbon on  
19 hydrogen, but your hydrogen supplies fall short, it could  
20 instantly switch over to natural gas as a temporary bridge  
21 or even propane if necessary.

22 The technology is dispatchable, which allows it  
23 to partner well with microgrids. We have a number of  
24 projects where we are with a solar microgrid in one  
25 instance and a battery microgrid that you'll see in

1 another. We have projects where we're going to be  
2 completely islanded with solar, where we do peak shaving,  
3 firming, a variety of applications with this technology.  
4 It's a very versatile technology that has now been proven  
5 for a number of years.

6 Next slide, please.

7 First example of the technology in deployment,  
8 and I believe some folks are going to be visiting this  
9 location from the CEC in the near future, is the Napa  
10 Sanitation District project where we're taking digester gas  
11 and generating electricity. And, in fact, we're allowing  
12 the Napa San to accept more types of waste gas and -- I  
13 mean more types of fuel to generate more waste gas where  
14 they can turn around and power their facility and power  
15 their digester. In fact, this was the first waste gas  
16 project that we did, and it has enabled additional waste  
17 gas projects. So you're taking methane that was previously  
18 potentially being vented, capturing that, and generating  
19 electricity.

20 In one instance, down in Southern California, we  
21 are now slated to do a project at the Toyon Landfill in the  
22 middle of Griffith Park, where they will be exporting  
23 electricity, renewable electricity, to the grid.

24 We're also doing a project with Monterey  
25 Wastewater Treatment Plant, as well as Silicon Valley Clean



1 Water, where once again we'll be taking wastewater gas and  
2 generating electricity either for grid or facility and/or  
3 both. Some of it's yet to be determined.

4 You can go to the next slide.

5 This is a unique project. This is a microgrid  
6 project with batteries. And the interesting thing is that  
7 this was a speed-to-power solution for electric truck  
8 charging. A fleet of 100 trucks owned by Maersk shipping  
9 diesel trucks that they had purchased electric trucks,  
10 drayage trucks, to completely convert their fleet. They  
11 were told by their utility that it would take three to five  
12 years to get them the power that they needed, and in under  
13 12 months, led by Prologis' Mobility Division, along with  
14 batteries and linear generator technology fed by SoCalGas,  
15 we were able to get this up and running as the largest  
16 charging microgrid in the U.S. at the time it was launched  
17 over a year ago.

18 And the interesting thing is the reason that  
19 technology was chosen is because Maersk and Prologis have  
20 aggressive carbon reduction goals. And the ability for the  
21 technology to accept hydrogen blends and hydrogen in the  
22 future without changing a thing other than the connectors  
23 that are different for hydrogen was a good selling point  
24 for them as an affordability option in terms of stranded  
25 capital for deploying those assets. So that's up and

1 running right now, charging up to 96 trucks at over 300 kW  
2 simultaneously.

3 Next slide, please.

4 This is a project that's in development right  
5 now. It's a combination of firming, as well as allowing  
6 for data center growth in a rural community in the Midwest.  
7 They had a data center that was coming online that they  
8 couldn't meet the load, and so they decided to do a project  
9 where we would be providing a little bit more than 30  
10 megawatts of power to help their un-firm power provide firm  
11 power to the data center, which is what data centers need.  
12 And this is one of a number of projects that we are  
13 providing firm power for a data center and/or islanded  
14 prime power for a particular data center that was  
15 constrained in the timeline that they would get power from  
16 their utility.

17 As you are all probably aware with data centers,  
18 time is like of the essence, I mean, if you're falling  
19 behind, if you're a month behind schedule energizing your  
20 data center. So this speed to power solution is one that  
21 is gaining traction across the U.S. And once again, our  
22 fuel flexibility is giving them comfort that at some point  
23 in time, when, not if, but when hydrogen becomes available  
24 at scale and is affordable, then they can convert to a  
25 zero-carbon operation.

1           Next slide, please.

2           So those are examples of real-time projects, and  
3 this is one that we'll be launching next year. And this is  
4 a hydrogen project. That's why I'm referencing it to give  
5 the guys this afternoon a little bit of a lead in. This is  
6 Verdagy, an up and running electrolyzer down in Moss  
7 Landing. Verdagy has their corporate headquarters there.  
8 They have a manufacturing facility, as well, in California.  
9 But currently, that electrolyzer has just been producing  
10 hydrogen as a proof of concept for them, but they've been  
11 venting it. So now they're coupling that hydrogen  
12 production with a linear generator, and they are going to  
13 be turning around and powering their facility, to some  
14 degree, and the electrolyzer.

15           The use, the electricity usage is beyond the  
16 capability of one linear generator, but this is an ability  
17 for them to show the ability of their electrolyzer to  
18 operate 24/7 in an automated fashion and the ability of the  
19 linear generator to then in turn take that hydrogen,  
20 produce electricity 24/7. So it's a unique opportunity for  
21 us because right now hydrogen is so expensive that for us  
22 to purchase hydrogen and run our technology 24/7 would be  
23 cost prohibitive. So this is a really good partnership for  
24 Mainspring, Verdagy, and California to get an opportunity  
25 to really see the ability of hydrogen in generation.

1 Thank you.

2 MR. YANG: Moving right along to our next  
3 panelist, we have Julia Levin with the Bioenergy  
4 Association of California.

5 MS. LEVIN: All right. Good morning. I'm going  
6 to unmute myself. Okay. Good morning, Commissioners.  
7 Julia Levin with the Bioenergy Association of California.  
8 Thank you so much for this workshop and the attention on  
9 firm power. You understand better than anyone how much we  
10 need it and how urgently we need to ramp it up.

11 We strongly support all forms of firm power, but  
12 I'm going to talk just for a couple minutes about why  
13 bioenergy provides additional benefits even beyond other  
14 sources of firm power, but we need it all. So I want to be  
15 very clear about that. And we needed it all yesterday for  
16 all the reasons that staff and others have said,  
17 reliability, affordability, resilience, diversity, et  
18 cetera.

19 So the Bioenergy Association of California has  
20 about a hundred members, including many private companies  
21 like Mainspring and others, they're really on the cutting  
22 edge technology-wise, utilities, as well as a lot of public  
23 agencies, cities and counties that have to divert organic  
24 waste from landfills, air districts, water and wastewater  
25 agencies, et cetera, and then research institutions,

1 tribes, and others.

2           Next, please.

3           We focus on all kinds of organic waste for all  
4 different energy and uses, but the common denominator is  
5 organic waste. And this is where bioenergy provides  
6 significant additional benefits beyond other forms of firm  
7 power. Most importantly, it reduces short-lived climate  
8 pollutants. And climate scientists are really clear that  
9 this is by far the most urgent thing we can do to address  
10 climate change. In the energy sector, it is the only thing  
11 we can do that makes any difference to the climate for the  
12 next several decades. And I want to say that again,  
13 because most people still don't seem to realize this.  
14 Everything we're doing to reduce fossil fuels, while  
15 critical, makes zero difference to the for a long time, and  
16 we don't have that much time left.

17           People are dying now every single week from  
18 climate disasters all over the world, including in this  
19 country, including in this state, from wildfires, floods,  
20 extreme heat, et cetera. When you reduce short-lived  
21 climate pollutants, you benefit the climate right away.

22           And in California, methane and black carbon, the  
23 two most common short-lived climate pollutants, are  
24 entirely from organic waste. While, 87 percent of methane  
25 emissions is from organic waste, more than 90 percent of

1 black carbon is from wildfires, pile burning of forest and  
2 ag waste, and diesel. All of those emissions could be  
3 virtually eliminated by converting organic waste to energy  
4 and using it in place of diesel instead.

5 Next, please. Next slide, please.

6 So in addition to reducing short-lived climate  
7 pollutants, bioenergy is also unique among generation  
8 resources because it can provide carbon negative emissions,  
9 in some cases, even without CCS. So that is a correction  
10 to one of the earlier staff slides. According to Lawrence  
11 Livermore National Lab, bioenergy with CCS could provide  
12 two-thirds of all the carbon negative emissions we need to  
13 reach carbon neutrality by mid-century. But many sources  
14 of bioenergy, like dairy biogas, or diverted organic waste  
15 from landfills, or forest waste that would otherwise be  
16 burned, can be carbon negative even without CCS. So this  
17 is just an enormous and critical opportunity to meet our  
18 mid-century goal of carbon neutrality.

19 Next, please.

20 So in addition to short-lived climate pollutant  
21 reductions and carbon negative emissions, the Air Resources  
22 Board, the legislative analysts, and Lawrence Livermore  
23 have all found that investments in bioenergy are actually  
24 the most cost-effective of all of the state's climate  
25 investments. Each and every year, the Air Board issues a

1 report to the legislature that shows that very, very  
2 clearly. And that's because bioenergy uniquely provides a  
3 triple benefit for the climate. It reduces methane or  
4 black carbon, climate super pollutants upstream, it  
5 displaces fossil fuels, and it can provide carbon-reducing  
6 co-products like biochar. Then when you add those three  
7 benefits up, it becomes an extremely cost-effective climate  
8 solution.

9 Next, please.

10 So in addition to the climate benefits of  
11 bioenergy, it is also a critical tool for reducing  
12 wildfires. And according to the PUC's recent report back  
13 to the governor on affordability, wildfires are by far the  
14 biggest driver of increasing electricity rates. So if we  
15 want to maintain affordable rates, we have to address  
16 wildfire. And one of the ways to do that is to use forest  
17 waste and other vegetation that's removed for wildfire  
18 mitigation for bioenergy production.

19 Unfortunately -- well, the good news is  
20 California has really stepped up efforts to do forest  
21 thinning and other vegetation removal. The bad news is the  
22 vast majority of that, as the photo in the upper right  
23 shows, is still sitting in piles in the forest. And CAL  
24 FIRE and the Placer County Air District have looked at  
25 those piles and determined that that actually increases

1 wildfire risks, because you have these little fire bombs  
2 spread throughout the forest now in piles.

3           We have to do something with those piles, and by  
4 far the biggest opportunity is bioenergy production, which  
5 not only mitigates wildfire risks and impacts, but also  
6 helps protect water supply, which is why water agencies  
7 across the state now are really stepping up to invest in  
8 and support new small-scale bioenergy products that use  
9 forest waste.

10           Next, please.

11           So in addition to all these other benefits, I  
12 want to address air quality. There is no question that  
13 there are emissions from biomass combustion, but according  
14 to the Air Board, CalEPA, the entire statewide association  
15 of local air districts, open burning is significantly  
16 worse. Bioenergy cuts particulate matter, black carbon,  
17 methane, other air pollutants significantly compared to  
18 pile burning or wildfires.

19           And this graph is based on combustion biomass.  
20 When you get to non-combustion conversion, gasification,  
21 and then use it in a linear generator or other non-  
22 combustion technology, you can virtually eliminate  
23 emissions, which, again, compared to pile burning or the  
24 emissions that would otherwise happen from landfills or  
25 landfill gas flares, which is what we do with half of the



1 state's landfill gas, bioenergy provides huge net  
2 reductions in air pollution that are really, really  
3 significant, which is why one of our first members was the  
4 Placer County Air Pollution Control District.

5 So I'm going to stop there. Looking forward to  
6 the discussion. Thank you.

7 MR. YANG: And moving on to our -- introducing  
8 our last panelist, Harper with Fervo Energy.

9 MS. HARPER: Hi, everyone. Thank you so much for  
10 having me. It's great to see you, Commissioner Gallardo  
11 and Vice Chair Gunda. And thank you so much to the staff  
12 who worked on this workshop and this report, and also just  
13 committing to fact-based decarbonization through clean firm  
14 resources.

15 I am here representing Fervo Energy, and we are a  
16 24/7 enhanced geothermal energy systems company that is  
17 currently delivering power to power data -- or to power a  
18 Google Data Center. And we're also contracted with  
19 California LSEs for 500 megawatts fully phased on by 2028,  
20 starting delivery next year.

21 If we could move to the next slide?

22 Enhanced geothermal systems, or EGS, essentially  
23 utilizes advances in drilling and fiber optic monitoring  
24 and applies those advances to geothermal reservoirs for the  
25 first time. And what this has done for the geothermal

1 industry is unlock a huge amount of potential resources  
2 that were previously inaccessible. Because we're accessing  
3 new rock formations, and also have control over subsurface  
4 engineering using these techniques, we're largely able to  
5 vastly expand the resource potential across the West. USGS  
6 just released a study that in the Great Basin alone, using  
7 current technology and enhanced geothermal systems, we can  
8 unlock 135 gigawatts of resource just using current  
9 methods.

10 On to the next slide.

11 We're also as we scale, we're rapidly driving  
12 down costs and have exceeded and outpaced Department of  
13 Energy and NREL projections. One of the ways that we've  
14 been doing that, and I'll give an example, is by driving  
15 down the time that it takes for us to drill a well. Since  
16 we drilled our first well, Fervo has decreased the time  
17 that it takes for us to drill a well by 70 percent. This  
18 is important because about 50 percent of geothermal project  
19 capital expenditures come from drilling costs. And 75  
20 percent of drilling costs are associated with drilling  
21 time. So those advancements are helping us drive down  
22 costs, and that's only one example. We've been driving  
23 down costs across our entire business.

24 It's our goal in the future as we scale to become  
25 not only the cheapest form of clean firm power, but just

1 power on the market. And we believe that this is possible  
2 given the current technology that's been developed over the  
3 last decade.

4 Next slide, please.

5 And to ground this in some of the policy needs so  
6 that we can expand and bring clean firm power to California  
7 so that we can meaningfully decarbonize our grid,  
8 especially in overnight hours, these are a range of  
9 different policy recommendations. But I really wanted to  
10 highlight transmission here as being one of the key  
11 constraints at this time, and I think many other industries  
12 are facing transmission constraints as well.

13 Especially through interagency coordination here  
14 at the CEC, with the CPUC, with the CAISO, that type of  
15 coordination to drive transmission infrastructure buildout,  
16 especially cross regionally, is going to be critical if  
17 California is to meaningfully and truly decarbonize their  
18 grid 100 percent in all hours of the day. And especially,  
19 I think there needs to be more coordination on out-of-state  
20 and imported resources as well in the near term in order to  
21 meet short-term goals, especially as this resource expands  
22 across the West.

23 Thank you so much, and I'm looking forward to the  
24 discussion.

25 MR. YANG: Great. Thank you so much.

1           We'll now go into the discussion portion of this  
2 panel. Quick time check. We have about 10 minutes or so,  
3 so we'll go through a few questions and welcome the  
4 panelists to chime in on this first question that we have  
5 on tap.

6           So the first question is: How are recent changes  
7 in federal tax credits, incentives, and other policies  
8 affecting your technology's ability to gain traction in the  
9 market, as well as what additional policy levers or market  
10 structures would most help accelerate the adoption of your  
11 technology? So welcome any thoughts on this question?

12           MR. LEACOCK: Well, I guess as a company that is  
13 going to benefit from the recent change where the ITC,  
14 investment tax credit, was re-established, we have to say  
15 that it's allowing a variety of customers, whether  
16 commercial, industrial, whether it's public agencies,  
17 wastewater treatment plants, landfill, whoever it may be,  
18 it's allowing them to get certainty for the next 10 years  
19 in terms of those tax credits, as well as, you know, saving  
20 a substantial amount of money in the purchase of our  
21 technology.

22           So it's helping spur the growth of our technology  
23 and projects are, you know, really looking to accelerate  
24 starting after January 1, 2026 to kind of keep going. You  
25 know, this is a tax credit that was already in existence,

1 so it's re-established it and given our pool of potential  
2 customers certainty in their path forward.

3 MS. LEVIN: Yeah, I think all of our technologies  
4 fall in the category of other in the Big Budget Bill. And  
5 so we received a full extension through 2033 and then a  
6 phase down of the investment tax credit until 2036, so 10  
7 years, which is super helpful. Actually, as Kent said,  
8 better than what we've had in the past, which have been  
9 very short-term extensions.

10 I mean, I'll just say personally, I would have  
11 liked to have seen extensions for all renewables, but at  
12 least firm power did get those extensions and CCS and  
13 hydrogen as well. So I think for firm resources, this is  
14 the time to make a push when these tax credits are going to  
15 be available for the next decade.

16 MR. HOUCK: And I'll just add that it's pretty  
17 notable that this is one of the only subjects that's had  
18 broad bipartisan support for three administrations now.  
19 And so I think, you know, why is that? It's because the  
20 resources we're bringing to the market are fundamental to  
21 energy security, reliability, and affordability.

22 So I think the really important question is next  
23 for state policymakers and ISOs around, well, how do we  
24 squeeze the most value out of the generation of  
25 transmission we have today in this world where it's getting

1 increasingly challenging to build stuff rapidly enough?  
2 And how do we proactively encourage the development of  
3 these new resources? And I know that's a big focus of  
4 today.

5           So I want to just offer just briefly, like maybe  
6 three policy levers that I think are worth focusing on, and  
7 we'd love others' opinions too. One is planning. Like  
8 we've got to start making sure that all these resources are  
9 included in every plan that we, you know, do about the  
10 future of the electric grid. And we've got to start  
11 planning for the reliability challenges that we're really  
12 starting to face and ask, what is the least cost way to  
13 solve both the state's clean energy goals and the  
14 reliability challenges?

15           On markets and reliability, we still think about  
16 single days; right? We've got to shift to think about  
17 realistic weather events. And, you know, and what does  
18 firm mean? Well, it means the ability to be dispatched  
19 continuously over those periods of risks, which tend to  
20 span multiple days.

21           And then procurement. And here, California is,  
22 no surprise, playing a leader in the recent procurement  
23 orders coming out of Commission, but it's important to  
24 start thinking about not just capacity power, but energy,  
25 you know, and how much energy do we need to really support

1 the state's reliability and other needs in the system?

2 So I congratulate California on making a lot of  
3 progress to date, but I think that's really kind of where  
4 we need to continue to push in the next few years and take  
5 advantage of the incentives that are, at this point, pretty  
6 durable.

7 MR. YANG: Great. Those are definitely great  
8 thoughts around what would it take from a policy  
9 perspective to scale these technologies.

10 I have a follow-up question for Jason. You had  
11 mentioned how to value these firm zero-carbon resources.  
12 With respect to your technology, what market mechanism or  
13 contracting structures would best recognize the unique  
14 value of multi-day or seasonal storage? And what would  
15 help reduce the risk of early large-scale investments?

16 MR. HOUCK: Yeah, it's a great question. I'd say  
17 there's easy near-term things we can do, and some harder  
18 things that are going to take a few years. The easy things  
19 are, one, just give accreditation in existing resource  
20 adequacy programs to multi-day storage and other emerging  
21 resources, just to give developers clarity on how resources  
22 are going to be valued today. And also, clarify a pathway  
23 for developers to swap battery technologies, in particular,  
24 in interconnection without having to trigger lengthy  
25 changes. Those two things alone will help get, you know,

1 new resources.

2           In the longer term, you know, I think it's  
3 important to start making sure that realistic reliability  
4 risks are factored into market design. And, you know,  
5 today, we still plan the grid in California and grids  
6 across the country about -- around the single-day peak.  
7 But we all know that those real reliability crises are  
8 around several days of hot weather, an atmospheric river in  
9 Southern California in the wintertime, or several bad  
10 things happening all at once, and those tend to last over  
11 several days.

12           And so, the real challenge is setting a clear  
13 signal for, you know, characterizing, what is that  
14 reliability challenge, not just short-term, but over the  
15 long run. What does it look like in different scenarios of  
16 weather and resource requirements? We have a lot of stuff  
17 that's pretty old in California and elsewhere, and it may  
18 go away. And then, what performance, I think this is the  
19 key thing, what performance do we need out of new resources  
20 that can fill that gap?

21           And I think once we answer those questions, the  
22 procurement piece becomes easier, because then we can say,  
23 we need, you know, this kind of performance. Let's let the  
24 technologies compete to provide that at a competitive cost.  
25 And so I hope that's where California -- I know there's



1 been a lot of progress in that direction, but I think  
2 that's really where we need to spend a lot of our attention  
3 in the coming few years.

4 MR. YANG: Thank you, Jason. Those are great  
5 insights.

6 Shifting a little bit in terms of what are some  
7 of the biggest barriers some of these technologies are  
8 facing, I do have a question for Harper. What are the  
9 biggest barriers relating to permitting or transmission  
10 access with regards to geothermal projects, and how can  
11 policy help address these challenges?

12 MS. HARPER: Yeah, absolutely. And I feel like  
13 this feeds a little bit into the federal conversation we  
14 were just having.

15 Enhanced geothermal systems, while it's been  
16 proven and it's scaling, we're in what's called the valley  
17 of death, which is, you know, common. You know, it's an  
18 ominous term, but it's this big gap between when a company  
19 has, you know, a venture or a technology has venture-backed  
20 capital and when it needs to move into full deployment.  
21 And that is really a great space where policy can come in  
22 and help launch a technology from being just in the  
23 research and development stage into more the research,  
24 development, and deployment stage. And like we were saying  
25 earlier, we need this energy now, and we needed it

1 yesterday. Load growth is growing rapidly. Load is  
2 already growing rapidly, and load growth is projected to  
3 continue on that trajectory.

4 So I would say, related to barriers in  
5 California, I think there's a lot of opportunities to  
6 streamline permitting practices. And I'll highlight  
7 specifically for growing geothermal in California some of  
8 the challenges related to CEQA in the broader western  
9 market context.

10 The fact that California has a specific and  
11 different regulatory scheme for developers to learn,  
12 understand, and move through for a project does put them at  
13 somewhat of a competitive disadvantage compared to other  
14 states who all work in NEPA. And for that reason, it is  
15 difficult for technologies that are scaling to attract the  
16 financing and capital needed to deploy in a state that has  
17 a unique regulatory scheme. And when I say unique, I would  
18 also link that to the term uncertain. And in, you know,  
19 financing, in the financing world, uncertainty comes at a  
20 price point.

21 So really what you're talking about when you work  
22 to streamline permitting practices in the state is directly  
23 saying we want to make power generated in the state more  
24 affordable. So that all is very much linked. And I know  
25 we're in an energy affordability crisis as well. So really

1 decreasing uncertainty has direct affordability benefits.

2           And then on the transmission side, I would say  
3 the biggest barriers right now are related to inter-  
4 regional transmission and sort of the western wide  
5 transmission connectivity, especially related to imports.  
6 The planning around imports is not as predictable as it  
7 needs to be for both developers and also offtakers to work  
8 ahead of time to really match the level of planning and  
9 planning horizons that California has set in their goals.  
10 So I think aligning those timelines together, the  
11 transmission planning timelines with our clean firm SB 100,  
12 SB 223 timelines together is going to be critical to meet  
13 California's goals.

14           MR. YANG: Thank you, Harper.

15           We're going to take another sort of spin here and  
16 go towards a more distributed question. And this question  
17 is for you, Kent. What incentives or interconnection  
18 policies are needed to expand the deployment of linear  
19 generators, especially in those sort of distributed  
20 applications or even off-grid applications?

21           MR. LEACOCK: Well, I think that the main thing  
22 that we would look for is, I'd say, kind of technology  
23 neutrality in procurements, in grants. I think that, you  
24 know, at times there have been, you know, kind of dedicated  
25 silos for funding. And I think now is the time when,

1 especially with wanting to grow hydrogen, that looking at  
2 clean fuels as, for example, long-duration energy storage  
3 on the -- for the grid that can then double also as  
4 distributed generation when coupled with, say, for example,  
5 electrolyzer, I think that that's -- the policies need to  
6 be all-encompassing. They need to be able to allow all the  
7 different technology choices a seat at the table because,  
8 you know, some technologies are dispatchable. Others  
9 aren't. They can't respond to, they can't respond quickly  
10 to changes in the grid and what the grid needs. You know,  
11 they can't respond within seconds to dispatch signals that  
12 CAISO might send out.

13           So, that would be -- I think, is the biggest, you  
14 know, or policy, you know, thing that we think would  
15 benefit our technology and others as well is a more kind of  
16 open acceptance of all the options that California needs.

17           MR. YANG: Thank you for the insights, Kent.

18           Doing a quick time check. I think we're out of  
19 time for the discussion panel. I wanted to turn it over to  
20 Vice Chair Gunda for an opportunity for remarks and  
21 questions from the dais.

22           VICE CHAIR GUNDA: Thank you, Chie. And thank  
23 you so much for the panel and this really helpful  
24 information. I monopolized most of the time last panel, so  
25 I'm going to start with Commissioner Gallardo first.

1           COMMISSIONER GALLARDO: You're allowed to  
2 monopolize. You're leading this. No, but I appreciate it.  
3 Let's see, I think I have quick questions for everybody.

4           So, one, congratulations on all the work you're  
5 doing, everything you're advancing. It's really exciting  
6 to hear about all these technologies. I don't, I'm not  
7 deep on all of them, but very fascinated by everything.

8           Jason, I wanted to tell you I'm jealous of West  
9 Virginia. I would have loved for that factory to be in  
10 California, but definitely understand, you know, why there  
11 might be some barriers to being in California.

12           I also wanted to congratulate Form Energy for  
13 the, I believe it's 14 gigawatt hours across the United  
14 States. Significant and just impressive. And also  
15 acknowledging that you mentioned the CEC funding, so that's  
16 good to get that type of feedback, too, when our grants are  
17 able to support and support well, and maybe where there are  
18 gaps where we can do better on those grants. So we do want  
19 to make strategic investments, even though sometimes we'll  
20 have limited funding, or especially when we have limited  
21 funding.

22           So, Jason, I think those are just comments for  
23 you, not necessarily in question.

24           And then Kent, it stood out to me, the Napa  
25 Sanitation District. I heard you say that staff might be

1 visiting soon. So I'm going to check in with staff to see  
2 if I can join that. It sounds really exciting. And I  
3 think seeing it firsthand can also help me wrap my head  
4 around how it all works. So very interesting.

5 And then you gave an example of a shipping port,  
6 but I didn't catch where that is, or one of the case  
7 studies.

8 MR. LEACOCK: Yes, Los Angeles.

9 COMMISSIONER GALLARDO: Okay.

10 MR. LEACOCK: So, that's Maersk Shipping down in  
11 the Port of L.A. And those are drayage trucks that, you  
12 know, they eliminated 100 diesel and went to electric that  
13 run Long Beach, Los Angeles to that facility run by Maersk  
14 Shipping that then goes out to the railyards, takes the  
15 containers, you know, to rail and/or to other distribution  
16 points from the port area.

17 COMMISSIONER GALLARDO: That's exciting. You  
18 said 96 trucks in the fleet?

19 MR. LEACOCK: Up to 96 simultaneously.

20 COMMISSIONER GALLARDO: Simultaneously. Yeah,  
21 that's incredible. Okay. Let me see here if I have  
22 anything else.

23 Oh, the Verdagy?

24 MR. HOUCK: Commissioner Gallardo, if I may  
25 just --

1 COMMISSIONER GALLARDO: Oh, someone else?

2 MR. HOUCK: Sorry, Commissioner Gallardo, I  
3 wanted to briefly just note --

4 COMMISSIONER GALLARDO: Okay.

5 MR. HOUCK: -- I did mention the West Virginia,  
6 but we do have a presence in Berkeley too. So we employ  
7 about 200 people at our Berkeley offices doing engineering  
8 work. So I have a large footprint in California and intend  
9 to continue growing that.

10 COMMISSIONER GALLARDO: Okay. Thank you. I  
11 think that may have been delayed.

12 Jason, were you responding to the first comments  
13 I made?

14 MR. HOUCK: I was. Sorry. Apologies if there's  
15 a delay.

16 COMMISSIONER GALLARDO: No, it's okay. We just  
17 didn't hear everything. I think you were talking about the  
18 workforce.

19 MR. HOUCK: Ah, sorry. I was saying that we do  
20 have a large presence in Berkeley, California, where we do  
21 all the engineering work for our technology, so -- and that  
22 has also been supported by CEC R&D funds. So I just want  
23 to acknowledge that we are in California, as well, and  
24 intending to continue to be there for a long time doing a  
25 lot of critical engineering function that goes into our

1 technology.

2 COMMISSIONER GALLARDO: Excellent. Thank you. I  
3 think that was addressing my jealousy. All right.

4 And then, I was asking Kent about Verdagy. I'm  
5 sorry if I'm pronouncing it wrong.

6 MR. LEACOCK: You know what? That's not my  
7 company. I don't know if it's Verdagy -- Verdi -- Verdigy,  
8 Moss Landing.

9 COMMISSIONER GALLARDO: Got it. Okay. So are  
10 they established already in Moss Landing?

11 MR. LEACOCK: Oh, yes. They've been producing  
12 hydrogen, as I mentioned, and venting it for quite some  
13 time, and so this will be good.

14 And the other thing that I didn't mention was  
15 that we're also going to be participating in a CEC-funded  
16 science experiment down in Southern California at Cal State  
17 Long Beach, where they will be blending hydrogen. GTI  
18 Energy is the project lead. So they'll be utilizing a  
19 linear generator with different blends of hydrogen to  
20 produce electricity on the campus of Cal State Long Beach  
21 and help them eliminate some diesel generators. And that  
22 will be, once that kind science experiment is done, it will  
23 stay in place and run the campus. So they'll be doing  
24 different hydrogen blends, as well as some synthetic fuels.

25 COMMISSIONER GALLARDO: Mm-hmm.



1 MR. LEACOCK: And South Coast AQMD is also a  
2 participant in that project to be looking at the emissions  
3 profile at various levels of hydrogen blending. And then,  
4 also, we're going to go straight pure hydrogen as well.

5 COMMISSIONER GALLARDO: Okay. Excellent. Thank  
6 you for the clarification.

7 Julia, I'm interested in visiting, also, one of  
8 the sites here just to better understand, you know, how the  
9 technology works. So I just wanted to make that comment.  
10 This is an area where I don't know too much.

11 And then, Harper, it's good to see you again. I  
12 feel like after that Geothermal Rising event, I keep  
13 hearing your name and Fervo keeps coming up. We were just  
14 at Berkeley National Labs, and we talked about Fervo and  
15 their investment in Fervo as an entrepreneur, so glad to  
16 see you here. And you talked about the drilling costs, and  
17 that's what we've heard too. That's a major barrier.

18 And I'm just curious if you could talk a little  
19 bit more on what else could we do to help with those types  
20 of barriers, if anything?

21 MS. HARPER: Yeah, absolutely. In terms of cost,  
22 one of the areas where states can be particularly helpful  
23 is in providing low interest debt financing for projects.  
24 And we've seen that be incredibly useful in the past.  
25 Drilling is a very expensive endeavor. So the magnitude of

1 grant funding to support drilling operations is really just  
2 quite large. So that is really why I point to the  
3 financing side there.

4 COMMISSIONER GALLARDO: Mm-hmm.

5 MS. HARPER: There's also opportunities for tax  
6 support, property tax remittance. You know, Fervo, we have  
7 lease positions in California around the Salton Sea, and,  
8 you know, there's a lot of potential across California to  
9 deploy the technology. It's, again, just the question of  
10 the place that EGS is in scaling and where the next right  
11 places are to deploy it as cheaply as possible so that,  
12 again, we can drive down costs and make our product in the  
13 market economically viable. So, yeah, there's a few  
14 different mechanisms.

15 And I think, also, on the transmission side,  
16 transmission is expensive and takes a long time to build.  
17 And that is also, you know, transmission costs are also  
18 built into and considered in PPA pricing too. So I do  
19 think that that's really a place where the CEC and CPUC and  
20 CAISO together can push a major difference that will have  
21 tangible impacts, you know, in the 5- to 10-year time  
22 horizon.

23 Yeah, and also, it's great to see you. I really  
24 appreciate both of your engagement on geothermal, and it's  
25 been really wonderful to share these spaces with you.

1 COMMISSIONER GALLARDO: Excellent. Thank you.

2 MS. LEVIN: Commissioner, can I --

3 COMMISSIONER GALLARDO: Go ahead.

4 MS. LEVIN: -- can I also answer that question in  
5 terms of barriers? I think some are common to all of our  
6 sectors. I think the most important thing, I hope, will  
7 come out of the SB 423 Report is a recommendation to have  
8 actual procurement targets, enforceable procurement targets  
9 for firm power, and maybe even within that dispatchable  
10 power because there's a subset of firm power that's even  
11 more critical. There's a reason we haven't been able to  
12 shut down most of our natural gas power plants. And until  
13 we really significantly ramp up firm, and especially  
14 dispatchable power, we're not going to be able to shut down  
15 the gas plants, although we should also be looking at  
16 opportunities to decarbonize those plants.

17 I think that's true across all firm renewables,  
18 is we need something more binding than kind of vague IRP  
19 targets. Those are targets. They're not requirements.  
20 They're not being enforced. You can't go to the bank, to  
21 be honest. So our members can't go to the bank and get it,  
22 you know, financing based on what's in the IRP Program  
23 where they can based on the Low Carbon Fuel Standard  
24 Program or the RPS as a whole.

25 Specific to bioenergy, new projects are generally

1 distributed generation. So their problem is not  
2 transmission, their problem is interconnection timelines.  
3 And I think this is also common for all resources. We are  
4 not going to meet the clean energy or climate goals if we  
5 don't accelerate interconnection by orders of magnitude.  
6 And at a point, if the utilities can't do it, we're going  
7 to have to look at an interconnection authority, like the  
8 Central Procurement Authority but for interconnection,  
9 because that is terribly broken for all new clean  
10 resources.

11           The area specific to bioenergy is, and this is  
12 where we really need more interagency cooperation, we don't  
13 monetize any of the other benefits of bioenergy. And so,  
14 consistently, the Public Utilities Commission has been  
15 pretty hostile to bioenergy.

16           They are about to end a program that is required  
17 by state law. Vice Chair Gunda knows this well. The  
18 BioMAT Program, which has no outs in the law, and yet  
19 they're unilaterally deciding to end the program because  
20 they think it's too expensive. But they're not factoring  
21 in carbon negative emissions, short-lived climate  
22 reductions, protecting water supply, mitigating wildfire,  
23 which is a direct ratepayer benefit. Until the state does  
24 a better job quantifying and monetizing all those benefits,  
25 including, in general, the value of firm power and

1 renewable dispatchable power, the only alternative is going  
2 to have hard and fast procurement mandates, but really, we  
3 should be doing both in order to accelerate the  
4 procurement. All of these resources are valuable.

5 And actually, the last thing I want to say, and  
6 this is not a diss to long-duration storage, clearly, we  
7 need that as well, but it really troubles me when we put it  
8 in the same basket with generation resources. They are not  
9 the same and they should not be treated the same. Even  
10 multi-day storage, which is fantastic, still requires  
11 generation at a point. It's still not going to get us  
12 through three weeks of El Nino rains or six weeks of bad  
13 wildfire smoke.

14 And in terms of prices, we have to figure out how  
15 to compare prices based on power across the whole year.  
16 And so even multi-day storage is not going to be that. So  
17 how -- I think the Public Utilities Commission, in  
18 particular, really needs to figure this out. Slice of day  
19 is not going to do it. RA doesn't do it. We've got to  
20 look at what keeps the lights on for every hour of every  
21 year, no matter what.

22 COMMISSIONER GALLARDO: Thank you, Julia, for  
23 adding that.

24 I have to depart for about an hour and a half, so  
25 I apologize that I'm leaving before I get to hear your

1 responses to Vice Chair's questions. But thank you again  
2 for all of the insight you shared. Much appreciated, and  
3 I'll be back.

4 VICE CHAIR GUNDA: Thank you, Commissioner  
5 Gallardo. Again, thanks to the panelists. I think I'm  
6 glad Chie and Commissioner Gallardo framed a lot of the  
7 questions. I think I feel like most of my questions were  
8 answered.

9 But I just wanted to give you, I just, you know,  
10 on the linear generator, Kent, I remember seeing the first  
11 demonstration and kind of thinking about the Prologis  
12 issue, and specifically looking at your solution. And it's  
13 been wonderful to watch, you know, you all deploy the  
14 technology. And I think especially with the idea of  
15 cutting down the interconnection timelines or pre-  
16 interconnection, it's been kind of interesting to watch the  
17 technology go. And I remember Fervo, the first  
18 presentation a couple years ago. And, you know, just, you  
19 know, again, congratulations on the success. Same, Jason,  
20 with you on the firm energy.

21 And I think, you know, Julia, I think I just  
22 wanted to thank you for your advocacy on an important  
23 sector of kind of the overall mix.

24 So I think, Kent, you mentioned this and maybe,  
25 you know, just have you provide some closing remarks on

1 this, you mentioned about how each of these technologies  
2 have their own benefits; right? I mean, they all bring  
3 something to the table, extremely important as you think  
4 through the lens of the clean, affordable, reliable,  
5 equitable, but also the kind of impacts; right? I mean, we  
6 don't necessarily monetize, for example, what it could do  
7 to decarbonization goals if there is three or four-year  
8 delay in energization; right? I mean, that's not really  
9 monetized.

10 Or Julia, in your case, we don't really monetize  
11 the reduced fire risk, you know, with, you know, adequately  
12 using the, you know, forest biomass; right? I mean, how do  
13 you do that?

14 So just wanted to kind of get your thoughts on  
15 going back to Chie's question on, are we valuing the  
16 technologies adequately? Are we having a wholistic value  
17 of each of your technologies within our planning processes?  
18 And you all touched on barriers that are both common and  
19 unique. If there's one thing you would solve immediately,  
20 what would that be? I think I know the answer for each one  
21 of you, but I'll just start there; right?

22 MR. LEACOCK: Well, I don't know if I can come up  
23 with one thing immediately, but, you know, I'd say that the  
24 thing that I would solve for most quickly, and it's  
25 something that's kind of out of our control, is if you're

1 going to, you know, you really want the zero-carbon future,  
2 then we have to enable hydrogen. We have to enable  
3 hydrogen at a scale, as well as fully value the existing,  
4 and to Julia's point, the existing benefits of bioenergy.  
5 And when I say bioenergy, I mean producing electricity from  
6 biogases, methane, from wastewater, from landfill, from  
7 dairy digester. Because once again, it's one of the tools,  
8 because what good does it do to transition a lot of things  
9 if you have methane being vented into the atmosphere and  
10 not doing something productive with it, including getting  
11 rid of it and then utilizing it to generate electricity?

12 I think the other thing is I believe that  
13 hydrogen as a clean fuel should start to looking at its  
14 many properties, including long-duration energy storage.  
15 My company recently joined the Long Duration Energy Storage  
16 Council, and one of the conversations we're having,  
17 embarking on, is the use of clean fuels as a form of long-  
18 duration energy storage.

19 And once again, in different circumstances, it  
20 can be another tool in the toolbox because of its ability  
21 to be dispatchable. If you couple it with an on-site  
22 electrolyzer that is, you know, producing hydrogen for  
23 other purposes, it can also then fuel tank storage that can  
24 be long-duration energy storage that can be replenished  
25 regardless of weather conditions. It doesn't have to worry



1 about sun. It doesn't have to worry about anything. It  
2 can be self-perpetuating, and it's zero carbon.

3           So I think that that's really where, you know, we  
4 would -- once again, as I mentioned before, I think that we  
5 need to kind of embrace new, embrace newer technologies and  
6 hydrogen as a solution for, you know, for what California  
7 is trying to do, all the while also, you know, really  
8 getting the fact that bioenergy and the capture of, you  
9 know, biowaste gases is so important. Because if you don't  
10 do that, then all these other things you're doing, you're  
11 just, it's like, you know, you're just counteracting  
12 against yourself by doing all these clean things and just  
13 allowing, you know, the vent of methane and/or flaring,  
14 which can be equally as harmful.

15           MS. LEVIN: Not surprisingly, I totally agree  
16 with what Kent just said. I think if I was going to say  
17 one thing that would benefit all of us, it would be a  
18 procurement step up between here and 2045 that provides all  
19 of us certainty and a guaranteed market, and that's what  
20 took us from 10 to whatever we are now, 35, 38 percent  
21 renewables. We need that specifically for firm power.

22           And I really do want to underscore generation.  
23 Long-duration storage has a huge role to play, but  
24 generation -- long-duration storage is not the same as  
25 generation. We need something specifically focused on

1 generation. And to Kent's point, I think clean molecules  
2 need to be recognized as having two critical benefits of  
3 the longest possible storage is clean molecules, biogas,  
4 biomethane, or hydrogen, as well as their ability to  
5 generate dispatchable power.

6 So really, two of the most critical needs for  
7 reliability, neither one of which is really recognized  
8 right now, the long duration, really long duration as in  
9 seasonal storage, and the ability to generate dispatchable  
10 power. So procurement, and then recognition of those other  
11 benefits.

12 MS. HARPER: If I could wish upon a star with  
13 this audience in mind, in addition to the other  
14 recommendations, it would be that the NREL ATB updates are  
15 immediately integrated into all planning procedures across  
16 California in a timely manner. Those NREL ATB updates are  
17 incredibly informative about the technology that's  
18 developing today, and our planning processes will build a  
19 grid that we'll functionally see come online in about 10  
20 years. So that's really why the timeline there is so  
21 important.

22 I'll end with that. Thank you so much for all of  
23 your work on planning and integrating up-to-date inputs and  
24 assumptions so far. I think the CEC has really been doing  
25 a great job of working towards those goals already, so I

1 appreciate it.

2 VICE CHAIR GUNDA: Thank you, Harper.

3 Jason?

4 MR. HOUCK: I'm not sure if you're able --  
5 apologies if there's still a delay, but I'd say the one  
6 thing that I'd recommend is to focus on ensuring both  
7 reliability and cost under atypical weather conditions. If  
8 we plan for atypical weather well in a technology-neutral  
9 way and we model all these resources in that, then we will  
10 get a clear picture of what's the right portfolio of  
11 resources to solve that. Let's focus on the weather and  
12 making sure we're modeling it right.

13 VICE CHAIR GUNDA: Yeah, thank you, Jason.

14 Thanks again to the panelists. It's an amazing  
15 panel. I look forward to continuing conversations. I  
16 think there's a lot to do. And as I said on the previous  
17 panel, it's really important that you engage.

18 I kind of recognize two things. California does  
19 a lot of good things, but things also move slowly, so thank  
20 you for how you continue to kind of work on this and  
21 advocating for the things that you believe in, and I look  
22 forward to continue working together. Thanks.

23 Back to you, Sandra.

24 MS. NAKAGAWA: Alrighty. Thank you so much. We  
25 are now going to go to Justin Szasz, a CEC Energy Analyst,

1 who's going to be moderating our Zoom Q&A. If you're in  
2 the room, please join the Zoom and submit your question via  
3 the Zoom Q&A or throw a yellow card at the back table and  
4 bring it up to me.

5 All right, Justin, over to you.

6 MR. SZASZ: Thank you, Sandra, and good  
7 afternoon, Vice Chair.

8 We have one question currently on the Zoom, and  
9 that is:

10 "Do you think hydrogen will be economic in our  
11 lifetime?" And then the person goes on to say, "Many  
12 experts don't think so, and the industry seems to be  
13 giving up on hydrogen. We have gone from dozens of  
14 hydrogen inquiries a month to zero, and we have  
15 demonstrated an engine burning 100 percent hydrogen."

16 MR. LEACOCK: I think that there are some  
17 examples that may be touched on later this afternoon, as  
18 well as other developers that I've met in other states,  
19 including New Mexico and in Oregon, that believe that they  
20 will be able to produce green hydrogen at scale. And one  
21 particular, I don't want to call them out, but one  
22 particular hydrogen developer feels that they'll be able to  
23 produce hydrogen at a cost-equivalent diesel fuel, and that  
24 with what's happening in the fuel market, they may  
25 ultimately be, and this is less than 10 years from now, be

1 less expensive on an equivalency scale than diesel.

2           So I think it's very much possible, and we've  
3 even spoken to a couple of producers that are doing this on  
4 their own. They're doing it from private capital out of  
5 New York, venture capital out of New York and the Bay Area.  
6 And they aren't even relying on Washington. If Washington  
7 does end up helping them, so be it. You know, if they get  
8 opportunities with California, so be it. But their business  
9 model is based on, you know, scale and profitability of  
10 their technology.

11           MS. LEVIN: Yeah, I'll just say for biogenic  
12 hydrogen, we are seeing prices come down already as the  
13 market starts to get more comfortable with it. The Green  
14 Hydrogen Coalition put out a great report about a month and  
15 a half, two months ago, showing that they thought they  
16 could get prices down, maybe not quite to where diesel is,  
17 but pretty close within a number of years.

18           But I think, like all clean technology, we have  
19 to scale up first, and so we have to be willing to take  
20 some amount of risk, do the best we can, and get most of  
21 the way there. For biogenic hydrogen, this also goes back  
22 to the need to monetize the other benefits that it  
23 provides, like reduced flaring, reduced wildfires, reduced  
24 methane emissions, et cetera. And then we can definitely  
25 get it to parity.

1           But I would flip the question around and say,  
2 well, how do we reach our goals without hydrogen? We can't  
3 mine our way. Globally, we just can't mine everything that  
4 would be needed to do it all with batteries. We're going  
5 to have to make hydrogen work, so it's not whether or not,  
6 it's how quickly can we do it.

7           MS. NAKAGAWA: Alrighty. Thank you, everyone.

8           I'm now going to turn it over to Ryan Young, our  
9 Deputy Public Advisor, who's going to begin our public  
10 comment session for this first half of the workshop.

11           MR. YOUNG: Good afternoon, everyone. I will  
12 take public comments. One person per organization may  
13 comment, and comments are limited to three minutes per  
14 speaker. If there are several parties interested in  
15 commenting, we may reduce the time.

16           We'll start with those in the audience that would  
17 like to comment. I have not received any blue cards today,  
18 so if you would like to make a public comment, please  
19 approach the podium.

20           Seeing none in the room, if you're using the  
21 online Zoom platform, use the raise-hand feature to let us  
22 know you'd like to comment. We will call on you and open  
23 your line to make comments. For those on the phone, you're  
24 going to use -- dial nine -- star nine to raise your hand,  
25 and star six to unmute your phone. You will unmute on your

1 end, and then we will speak.

2 The first comment is from Caity Smith of XGS  
3 Energy. Your line should be unmuted. Go ahead.

4 MS. SMITH: Hi. Are you able to hear me now?

5 MR. YOUNG: Yes, we can hear you. Thank you.

6 MS. SMITH: Excellent. Welcome. I'm Caity  
7 Smith. It's C-A-I-T-Y S-M-I-T-H. I'm the Director of  
8 Stakeholder Engagement for XGS Energy.

9 XGS Energy is a California-based company  
10 developing an advanced closed-loop geothermal technology  
11 that can deliver clean firm power anywhere there's hot rock  
12 with no consumptive water usage. XGS's single-well pipe-  
13 in-pipe system efficiently circulates a working fluid in a  
14 sealed loop, eliminating interaction with the geologic  
15 formation and expanding access to geothermal energy beyond  
16 traditional resource areas.

17 We appreciate the CEC hosting today's workshop  
18 and the thoughtful analysis in the SB 423 Report. As the  
19 report highlights, clean firm resources are essential for  
20 decarbonizing our electric grid while maintaining  
21 reliability.

22 To meet California's long-term clean energy  
23 goals, it will be important to have a robust mix of  
24 renewable energy resources that complement one another.  
25 Advanced geothermal will play a critical role in addressing

1 this need. In California, there's an opportunity for new  
2 technologies to both enhance output from existing  
3 geothermal fields and unlock development in new areas that  
4 have been historically out of reach for conventional  
5 hydrothermal.

6 We encourage the Commission to act on the SB 423  
7 Report recommendations and help accelerate deployment of  
8 clean firm resources, including advanced geothermal, that  
9 are critical to a reliable decarbonized grid.

10 XGS will be submitting written comments that  
11 include more detail on the points that I've raised briefly  
12 here.

13 Thank you again for your leadership on this  
14 critical issue and for the opportunity to contribute to  
15 this important conversation.

16 MR. YOUNG: Thank you for your comment.

17 We're next going to hear from Adam Jorge of  
18 Sonoma Clean Power. We're going to unmute your line, and  
19 you should be able to unmute yourself and provide your  
20 comment.

21 MR. JORGE: Okay. Good morning, Vice Chair  
22 Gunda, Deputy Executive Officer Sahota, presenters, and  
23 staff. I'm Adam Jorge, A-D-A-M J-O-R-G-E. I'm the Senior  
24 Decarbonization Policy Manager with Sonoma Clean Power  
25 Authority, and I very much wish I could be there in person



1 today. I'm unfortunately out of weather and just didn't  
2 want to expose anyone. So, some high-level comments.

3 Clean firm resource development and expansion  
4 continue to be some of the most critical challenges to grid  
5 reliability, rapid electrification, accelerated  
6 decarbonization, and expanded access to predictable,  
7 affordable energy. So we're really grateful to see this  
8 work discussed so meaningfully today.

9 And I wanted to take a moment to really emphasize  
10 the value of geothermal resources in this mix. As  
11 highlighted in PG&E's presentation this morning, the high-  
12 capacity factors associated with new geothermal resources,  
13 which are estimated to be around 90 percent, and the suite  
14 of next generation technologies offer a way to generate  
15 renewable power affordably and reliably while bringing  
16 economic benefits and clean jobs into California.

17 In recent years, Sonoma Clean Power has built up  
18 its geothermal expertise and built out a team supporting  
19 our Geothermal Opportunity Zone initiative, aiming to add  
20 about 600 megawatts of next generation geothermal resource  
21 within our service territory.

22 And as a community service aggregator and public  
23 power provider, we're working with a wide range of  
24 stakeholders to find solutions to some of the most  
25 significant barriers to geothermal development so that we

1 can maximize its benefits to our customers. And we think  
2 that the state is making some excellent progress. We know  
3 there's more to do to maximize the value of any future  
4 clean firm resources, including alleviating key  
5 transmission constraints through robust transmission  
6 planning and build-out to ensure that renewable power is  
7 both built in and deliverable throughout the state.

8 So thank you to the presenters on both panels  
9 this morning for raising this as a critical issue. And  
10 thank you to Harper for highlighting Fervo's incredible  
11 work on EGS and for the clear policy recommendations. So  
12 we appreciate all of the Commission staff, presenters,  
13 partners leading this critical and intersectional work.

14 We happily offer our expertise, partnership, and  
15 resources to organizations working in this space,  
16 especially to our government partners, so please reach out  
17 any time.

18 So thank you all very much.

19 MR. YOUNG: Thank you, Adam.

20 We're next going to turn to David E. Park.

21 David, we're going to unmute your line. Please go ahead.

22 David, you should be unmuted. You might want to unmute on  
23 your end. Okay, we'll come back to David.

24 MR. PARK: Sorry about that. I just figured it  
25 out. Hello, David Park with the Hydrogen Fuel Cell

1 Partnership, D-A-V-I-D P-A-R-K. I'm the Industry Affairs  
2 Director for the Hydrogen Fuel Cell Partnership.

3 First of all, I would like to thank CEC for your  
4 leadership in California and in setting really world-  
5 leading energy policy. California has long set the  
6 standard for visionary energy leadership, and the Energy  
7 Commission has been at the center of that success.

8 Hydrogen can help carry that legacy forward as a  
9 versatile energy carrier. Hydrogen strengthens grid  
10 resilience, enables long-duration energy storage, and  
11 decarbonizes hard-to-electrify transportation and  
12 industrial sectors. Fuel cell electric vehicles,  
13 particularly in heavy-duty and high-utilization  
14 applications, deliver rapid refueling and operational  
15 flexibility while reducing nitrogen oxides and particulate  
16 matter in communities most impacted by freight and goods  
17 movement. Prioritizing hydrogen in California's energy  
18 planning will ensure that the state continues to meet its  
19 ambitious climate, air quality, and equity goals while  
20 building a robust future energy ecosystem.

21 You know, as you know, the Commission has been a  
22 member of the partnership, ARB and GO-Biz are, and we  
23 certainly would welcome you back to the fold.

24 Thanks very much.

25 MR. YOUNG: Thank you, David.

1           We'll next turn to Sarah Gerson. Sarah, we're  
2 going to unmute your line.

3           MS. GERSEN: Good afternoon. This is Sara Gerson  
4 with Earthjustice. And I had two points that I wanted to  
5 raise with the CEC and the other decision-makers who've  
6 graciously taken the time to be with us today.

7           First, I want to note that the ambitions that  
8 California has to achieve a zero-carbon electricity grid  
9 cannot come at the cost of addressing our air quality  
10 crisis. And there have been some technologies discussed  
11 today that are zero-emissions, some that are not. And our  
12 air regulators in California's most polluted air basins,  
13 which is also where most of the Californians live, have  
14 recognized that we cannot meet health-based air quality  
15 standards unless there is a widespread movement to zero-  
16 emission technologies across small and large sources alike.

17           So essentially what that means, bottom line, we  
18 cannot breathe healthy air unless we have zero-emissions  
19 sources exclusively powering our power grid located here in  
20 the South Coast Air Basin and the San Joaquin Valley. And  
21 I think it's important for the IEPR to recognize that you  
22 need to plan for these firm low-carbon power objectives in  
23 a way that is consistent with meeting the Ambient Air  
24 Quality Standards that the state also needs to meet.

25           The second point I wanted to raise was just a bit

1 of curiosity about something I noticed on slide 9 of the  
2 CEC staff report on meeting the clean firm power goals. I  
3 saw that one of the technologies under consideration for  
4 bioenergy is converting biomethane to hydrogen through a  
5 variety of pathways.

6 And I was surprised that those pathways were  
7 something that the state thought merited consideration  
8 because there is such a limited supply of truly sustainable  
9 biomethane. And the CEC knows this. I know you've done a  
10 ton of reports that show it. And the idea of losing about  
11 a third of the energy in that biomethane in the process of  
12 converting it to hydrogen just to use it in an application  
13 where you could just use the biomethane directly just seems  
14 really wasteful and inefficient and unnecessarily  
15 complicated.

16 So thank you for your time and consideration.

17 MR. YOUNG: Thank you, Sara.

18 It seems like there are no other commenters on  
19 Zoom, so back to you, Sandra.

20 MS. NAKAGAWA: All right. Thank you so much,  
21 Ryan.

22 We are now going to take a break for lunch. The  
23 Zoom will remain on, but it will be muted, and we're going  
24 to plan to resume at 1:45 p.m. Attendees, you are welcome  
25 to remain on the Zoom, or you can log off and then log back

1 on using the same link you joined for the first half of our  
2 workshop. Thank you, everyone.

3 (Off the record at 12:25 p.m.)

4 (On the record at 1:47 p.m.)

5 MS. NAKAGAWA: Alrighty. Good afternoon,  
6 everyone. Thank you so much. We are now going to kick off  
7 the afternoon segment of our IEPR Commissioner Workshop on  
8 Firm Zero-Carbon Resources and Hydrogen. I'm Sandra  
9 Nakagawa, Director of the IEPR at the CEC.

10 As a reminder, this workshop is being held as  
11 part of the 2025 IEPR proceeding at the CEC. It's a hybrid  
12 workshop, and we are meeting in person here at the CNRA  
13 Auditorium, and via Zoom.

14 For those attending in person, restrooms in a  
15 water refilling station can be found just outside the  
16 auditorium if you turn right.

17 This workshop is being recorded, and a recording  
18 will be linked to on the CEC website shortly after the  
19 meeting concludes. To follow along, you can find the  
20 schedule and slide decks have all been documented and  
21 posted on the CEC's IEPR website.

22 We'll have a few minutes after each presentation  
23 to take audience questions, but we may not have time to  
24 answer all questions submitted. Zoom's Q&A feature is  
25 available for you to submit questions. We ask that in-

1 person attendees who would like to submit questions log  
2 into Zoom and access the Q&A feature. If you are doing  
3 that as an in-person attendee, keep your device volume at  
4 zero and mute yourself to avoid any audio feedback.

5 Folks can also upvote questions that are  
6 submitted via the Zoom Q&A using the thumbs up icon.  
7 Questions that receive the most upvotes are moved to the  
8 top of the queue.

9 For in-person attendees that cannot access Zoom,  
10 please write your questions on the yellow cards at the back  
11 table and bring them up to me and I'll make sure that they  
12 get read at the appropriate time.

13 Lastly, we do have a second public comment period  
14 at the end of the day. Please know that we will not be  
15 able to respond to the public comments, and those are  
16 limited to maximum three minutes per person, with one  
17 person per organization allowed to speak.

18 I'm now going to turn it over to Vice Chair Gunda  
19 for any opening remarks from the dais.

20 VICE CHAIR GUNDA: Thank you, Sandra.

21 Welcome back, everybody. We had a really good  
22 conversation this morning, thinking through zero-carbon  
23 firm resources and the opportunity for diverse mix for the  
24 state and the reliability and affordability benefits that  
25 they could bring to the conversation.

1           Looking forward to the afternoon. Now we're  
2 going to move into the hydrogen discussion and looking  
3 forward to the conversation.

4           Sandra, back to you.

5           MS. NAKAGAWA: Alrighty. We are going to go to  
6 David Erne, who's going to just give us a little recap of  
7 what we've covered this morning and set the stage for the  
8 afternoon.

9           MR. ERNE: Good afternoon, everyone. Welcome to  
10 our workshop this afternoon. In case you missed this  
11 morning, we had a really interesting conversation this  
12 morning about the broad suite of firm zero-carbon  
13 resources, covered a variety of those technologies and an  
14 overview. This afternoon, we're digging in a little bit  
15 more deeply in one particular area, and that is in  
16 hydrogen. So we didn't talk a lot about hydrogen this  
17 morning because we're spending half the day on hydrogen  
18 this afternoon. And that's the focus of this afternoon's  
19 conversation is hydrogen and its potential for both  
20 electric system and transportation, which is a request for  
21 us under SB 1075.

22           We produced an analysis for the IEPR two years  
23 ago, it was very high level, kind of simplified analysis.  
24 We've done a lot more work since then, working with our  
25 consultants, Guidehouse, to help us develop a more deep



1 understanding of the potential for hydrogen power and  
2 transportation sectors.

3           This afternoon, what we're going to do is we're  
4 going to start off with a presentation from Bloomberg New  
5 Energy about finance, about their perspective on the  
6 hydrogen market and what that's looking like in the United  
7 States.

8           We'll follow that with two panels. One panel  
9 will be providing an overview on hydrogen production,  
10 transportation or storage infrastructure and end uses, so  
11 give us a perspective from the developer and the industry  
12 standpoint.

13           After that, we'll have a panel of agency  
14 representatives from the CEC, the Public Utility  
15 Commission, and Air Resources Board. The three agencies  
16 are working closely on our understanding and our analysis  
17 of hydrogen and its potential for California. Both CEC and  
18 the CPUC -- or excuse me, CEC and CARB have requirements  
19 under 1075 to analyze hydrogen, and we're coordinating  
20 those analyses and our inputs and assumptions to help  
21 expand upon the opportunities for the state. So that will  
22 be the second panel of the afternoon.

23           So we have a lot of content to cover. I won't go  
24 much further on that, but what I'll do is kick off the  
25 first speaker, who's going to be Payal Kaur from Bloomberg

1 New Energy Finance, who will give us an overview of the  
2 hydrogen market.

3 Payal?

4 MS. KAUR: Thanks, David.

5 Hi, everybody. Thank you so much for having me.  
6 I'm a hydrogen analyst for BloombergNEF covering the U.S.  
7 clean hydrogen market, and today I'm going to go over some  
8 of the key trends in the U.S. and how California comparison  
9 fits into the picture.

10 So on my first slide, you'll see a scorecard.

11 So the next slide.

12 Yeah, so you'll see a scorecard here that our  
13 team created to show the different key points within the  
14 hydrogen value chain and where they're at on a scale of  
15 five. And today I'm going to touch on supply, policy,  
16 investment and demand, but I'll give you a brief overview  
17 of what we've scored them.

18 Supply is rated the highest because there's been  
19 a lot of announced supply, not just globally, but also  
20 within the U.S.

21 In terms of policy, the U.S. has seen a good  
22 amount of policy in terms of subsidies come out, tax  
23 credits and grants, but the issue has been there's been a  
24 lot of uncertainty and it's taking longer for those  
25 incentives to actually come to fruition.

1           The midstream is also rated two out of five just  
2 because there hasn't been as much progress in creating  
3 pipelines and storage for clean hydrogen.

4           Now investment and demand are both rated the  
5 lowest out of one because there's a lack of offtake for  
6 clean hydrogen and because there's also a lack of offtake,  
7 there's a lack of investment. It's harder to get final  
8 investment decisions for these projects because of the  
9 uncertainty in the policy environment, and because of the  
10 lack of demand.

11           And so I'll start off by talking with policy. And  
12 if you skip to the next two slides, you'll see I have a  
13 snapshot of our hydrogen subsidies tracker. So we have a  
14 tracker where we track all the federal subsidies available  
15 throughout the global markets, anything from your tax  
16 credits, grants, auctions, et cetera. And currently, or at  
17 least back in March, the U.S. fell second to the EU and its  
18 member states with about \$90 billion in subsidies  
19 available.

20           Now that number is likely to be even smaller now  
21 because that \$90 billion, specifically that teal color you  
22 see, that color is supply, is comprised of the 45E and the  
23 45Q tax credit pool. And now given the new deadline to  
24 qualify for 45E, that value is likely to be much smaller  
25 now, about \$30 billion less. And of course, projects in

1 California can apply for these incentives.

2           Now, the effect of what this uncertainty has done  
3 to the U.S. market is evident today. In the next slide, or  
4 the next couple of slides, you'll see that we've created a  
5 scenario to demonstrate the effect of the uncertain policy  
6 environment in the U.S.

7           And so what we did was we took a look at the  
8 seven largest markets that have movement with clean  
9 energy -- or clean hydrogen. And the U.S. is actually only  
10 comprising of 1.2 percent of the global clean hydrogen  
11 production capacity that took FID last year. And when  
12 you're looking at California, only one project is  
13 contributing in that of the U.S. amount.

14           Now, on the next slide, you'll see there's  
15 another barrier to the U.S. from the policy side, and  
16 that's tariffs. So back in April, our team analyzed what  
17 the impact of the tariffs that were announced on April 8th  
18 would have on the green hydrogen market, specifically on  
19 the levelized cost of green hydrogen. And I know that the  
20 tariffs have changed since then, but I kept this slide in  
21 here just to demonstrate the fact that having tariffs is  
22 just going to increase your levelized cost of green  
23 hydrogen, which is already more expensive. And so you'll  
24 see additional costs in your electrolyzed equipment, solar  
25 and wind equipment, and on EPC and other factors that get

1 baked into your LCOH.

2           And then on the next slide, the most recent, not  
3 necessarily a barrier for blue hydrogen, but more so for  
4 green hydrogen, was the finalization of the One Big  
5 Beautiful Bill Act. So let me just talk you through this  
6 chart.

7           So existing guidance here is referring to the  
8 amount of green hydrogen projects BNEF had forecasted could  
9 qualify for the 45E tax credit prior to the OBBBA. And  
10 then the House budget bill is what was proposed and passed  
11 by the House. And then the past Senate budget bill is what  
12 was eventually passed and is now the OBBA.

13           So the final version, there is a decrease in the  
14 amount of projects that we had forecasted to come online  
15 just based off the forecast from last year. This number,  
16 which is around 700,000 metric tons, is actually likely to  
17 be even smaller as we're currently revising our supply  
18 forecast for this year. But it's a little better than what  
19 was proposed by the House budget, the House budget bill.

20           So the question remains now is, okay, we're  
21 having about 700,000 metric tons, possibly, most likely  
22 less than that amount that could qualify for 45E. What is  
23 the total supply available right now? And so what does  
24 that actually mean in terms of numbers?

25           So in the next couple of slides, you'll see the

1 chart for the announced clean hydrogen capacity within the  
2 U.S. And so overall, the U.S. has announced around 16  
3 million metric tons of clean hydrogen to come online by  
4 2030 and beyond. N/A on this chart means projects that  
5 haven't just publicly disclosed when they expect their  
6 project to be Commissioned. But the top four states are  
7 Louisiana, with about four and a half million metric tons,  
8 Texas at around 4 million tons, West Virginia at three  
9 point two and California at one. The remaining amounts for  
10 the rest of the U.S. is around two and a half million  
11 metric tons of this split.

12 So when we look at the split between green versus  
13 blue hydrogen, so green is your hydrogen created through  
14 electrolysis, blue is hydrogen created using natural gas  
15 and thermochemical processes, the trend in the U.S. as a  
16 whole is more blue hydrogens now to come online than green  
17 hydrogen. But in California, the trend is reversed, where  
18 about 89 percent of the planned production is for green  
19 hydrogen and the remaining 11 percent is for blue.

20 Now, the driver between this big difference  
21 between blue and green hydrogen in the U.S. mainly has to  
22 do with costs, which you'll see in the next couple of  
23 slides. So right now, our team is working on updating our  
24 blue hydrogen levelized cost update, so I don't have a  
25 chart on that.

1           But what I can say is blue hydrogen is generally  
2 about 50 percent cheaper than what it costs to produce  
3 green hydrogen. And we were able to model out three  
4 different states in the U.S. Earlier this year, we  
5 published a report on our levelized cost of green hydrogen.  
6 And this first slide you're seeing is the cost of green  
7 hydrogen in Texas. And focus on the blue line, because  
8 that's where the costs are today. And this is assuming  
9 you're using off-grid renewables. And these are  
10 unsubsidized costs. And this is a best-case scenario where  
11 you're using -- your solar and wind are located in a really  
12 optimal spot within Texas.

13           So if your electrolysis is running at 80 percent  
14 utilization rate, the lowest LCOH you can have is around  
15 750 in Texas. And that's mainly because Texas is modeled  
16 to have really good wind and solar renewables. Whereas on  
17 the next slide, you'll see the comparison to Utah, where  
18 their LCOH is a bit higher. It's around \$9.00 per  
19 kilogram. And we had also modeled out New York. And it's  
20 even more expensive than Utah. So I would actually assume  
21 that California would fall somewhere between Utah and Texas  
22 just based off of renewables performance.

23           And so how does this translate to demand?

24           So in the next couple of slides, you'll see the  
25 chart for demand, where globally only six percent of

1    offtake has been signed, and of the six percent, two and a  
2    half million tons is for supply, is supply contracted from  
3    the U.S.

4                So where does California fall in terms of signed  
5    offtake agreements?

6                Roughly 108,000 tons of offtake signed for supply  
7    in the U.S. are from California. And California falls in  
8    third place in terms of which states have the most  
9    contracted supply. They're behind Texas and Mississippi.

10               Now, if you're wondering, well, where is this  
11   going on the next slide, we have a chart that's showing  
12   globally what the trend is in terms of the type of product  
13   that is assigned for offtake and what the end use is. And  
14   so globally, most of the contracted volumes are going to  
15   either green ammonia or green hydrogen. And this is  
16   largely driven by the European market.

17               In the U.S., 1 million tons of the contracted  
18   volumes are actually going to blue hydrogen or blue ammonia  
19   of the 1.6 million tons are contracted supply that's  
20   remaining in the U.S. And what I mean by that is this 1  
21   million tons is only accounting for the supply in the U.S.  
22   that's contract for domestic use and is not counting the  
23   U.S. supply that's being exported.

24               And so we can narrow it down to understand what's  
25   happening in California. Most of the contracted supplies,



1 actually, for blue hydrogen or its derivative, blue  
2 ammonia. So out of the 108,000 tons of offtake signed in  
3 California, about 78,000 tons is for blue hydrogen or blue  
4 ammonia, and the remaining 30,000 is for green hydrogen or  
5 ammonia.

6 So this is interesting, given the fact that  
7 California has over 80 percent of its announced supply  
8 targeted towards green hydrogen and the remaining amount is  
9 for blue, whereas the offtake, the trend is different. So  
10 it seems like there's more demand for the blue hydrogen,  
11 blue ammonia product in California right now than there is  
12 for green hydrogen or green ammonia. And that's partly due  
13 to the uncertainty that there has been around the policy  
14 landscape for green hydrogen incentives.

15 And in terms of where these contracted volumes  
16 are going, they're going to be used within fertilizers,  
17 power and heat, and road transportation.

18 And on the next slide, you'll see a table where  
19 we've charted out the key end use sectors for green  
20 hydrogen globally, and you can kind of use this to compare  
21 it to what California is targeting. I heard David say  
22 earlier that you're targeting to use it for power and heat  
23 and transport, and they fall more towards the lower end of  
24 the table. And that's because your existing use sectors  
25 are where most of the demand is coming from today, which

1 are your oil refining sectors, methanol and ammonium.  
2 Those are commercially ready sectors that already have an  
3 established use for hydrogen.

4           Steel and shipping are more of your emerging use  
5 sectors globally that are getting more demand. And this  
6 varies by where you're located. For steel, it's really  
7 being driven by the fact that certain markets have mandates  
8 for their sectors to decarbonize, such as your steel  
9 sectors. The U.S. does not have such mandates for steel.  
10 And then aviation power are towards the bottom of that  
11 table.

12           And so on this final slide, I know I went through  
13 this a bit fast, but I want to make sure I covered a good  
14 amount in these 10 minutes. We've gone through supply,  
15 we've gone through policy, demand and investment. We've  
16 taken a look at how what's happening in the policy realm is  
17 not only just pushing what's happening in the clean  
18 hydrogen industry, but its uncertainty is also hurting it  
19 in certain instances. And if you're taking a look at the  
20 trend between blue and green hydrogen right now in the  
21 U.S., it seems if you're doing blue hydrogen, you're in the  
22 right spot. There's more demand for it right now. The  
23 costs are much lower as well. And there's a lot less  
24 uncertainty around it.

25           Thank you. I don't know if we have some time for

1 questions.

2 MS. NAKAGAWA: Thanks so much, Payal. If you're  
3 able to stay on for our next panel, it would be great to do  
4 combined questions with you and our next set of panelists.

5 I'm going to introduce Jason Orta, one of my  
6 colleagues at the CEC. Jason is a Gas System Modeler. And  
7 he's going to be moderating our next panel on hydrogen.

8 MR. ORTA: Great. Thank you, Sandra.

9 So this panel this afternoon is going to be an  
10 exciting one. It does build upon this morning's sessions  
11 as we will hear perspectives in -- across the hydrogen  
12 value chain from production to uses in microgrids,  
13 transportation and storage of hydrogen, and including a  
14 project here in California.

15 So the panelists joining me today will be Jeremy  
16 Hayward, who's the President of Redding Rancheria Economic  
17 Development Corp., Wladimir Sarmiento-Darkin, who's the  
18 Director of National BD and Clean Hydrogen with Linde,  
19 Shailesh Topiwala, head of Hydrogen Business Development  
20 with Bosch, Matt Franzen, Chief Operating Officer with H  
21 Cycle, and Craig Klaasmeyer, who's the co-founder of Kaizen  
22 Energy.

23 Our first speaker on this panel will be Jeremy  
24 Hayward, who will talk about what's going on at the Redding  
25 Rancheria. And he represents the Redding Rancheria

1 Economic Development Corp.

2 MR. HAYWARD: Thank you so much, Jason.

3 So as I stated earlier, my name is Jeremy  
4 Hayward. I'm President of Redding Rancheria's Economic  
5 Development Corporation, and we are looking to build a  
6 biomass to hydrogen facility in Red Bluff, California.

7 Next slide, please.

8 So Redding Rancheria's story, what we're trying  
9 to do, we're trying -- why we're trying to do this, and the  
10 tribe's culture of being stewards of the land, I'll kind of  
11 go through this for a minute.

12 So reduced fuels on the forest floor, obviously  
13 that's a huge issue here in California and affects my tribe  
14 every fire season. We've had tribal members' homes burned  
15 down. We've had one tribal member's home burned down twice  
16 and team members' homes, you know, burning down here in the  
17 community. I don't have to go on and on about this. I  
18 know you guys know all about the fires here. So reducing  
19 fuels on the forest floor, reduce chances of wildfires,  
20 reduce CO2 emissions and provide clean energy is what we're  
21 trying to do.

22 Why we're trying to do this is fires are more  
23 prevalent. Communities are being destroyed. Looking  
24 forward to the next seven generations, my theory and the  
25 reason that we got into this was we want our children to be

1 able to enjoy the same landscape and forests that we have  
2 today and the future and their children and their children-  
3 children -- children's children. Sorry. So looking  
4 forward to the next seven generations, really important to  
5 my tribe. And it's kind of how we were all brought up  
6 around here was to take care of this place.

7           And then energy availability, we know that with  
8 all the data centers coming into the country and EV cars  
9 coming online and all those things, it's really straining  
10 the power grid here in California. We already experience  
11 these rolling brownouts and the PSP shutoffs and all that  
12 stuff. So we want to make sure that there's more energy  
13 available here in California.

14           And then just again, tribes' culture of being  
15 stewards of the land in the next seven generation mindset  
16 was taught to me and my family at a very young age by my  
17 great grandfather.

18           Next slide, please.

19           So biomass to hydrogen. Large wildfires are  
20 destroying our communities. We've had the Carr Fire, the  
21 August Fire, Dixie Fire, Park Fire, Camp Fire, Palisades  
22 Fire and many, many more. We have two or three very large  
23 wildfires every year here in California, and they're  
24 destroying our communities and destroying our forests. Our  
25 goal is to go after dead, down and diseased trees and

1 utilize those as a better biomass to hydrogen facility.

2           The fuel building up on the forest floor, so this  
3 kind of relates back to a story of how we got into this.  
4 Me and my brothers, we ride mountain bikes and we ride in  
5 all the mountains right here around Reading. And one of  
6 them happens to be Mount Shasta, which is our favorite  
7 place on the planet. And there was a lot of fuel building  
8 up on the forest up there. We had -- there were some  
9 people that came and did some cleanup work, but the fuel is  
10 still there. It's just now piled up a couple of years  
11 later. And so, you know, we saw that and realized that  
12 there needed to be change in forest management and the way  
13 that we treat the fuels on the forest floor.

14           And then energy sovereignty, taking control of  
15 our energy production. So tribes over and over again are  
16 having to be at the mercy of whatever utility corporation  
17 it is that they're working with on trying to get more  
18 energy to the reservation to be able to expand homes,  
19 expand economic development, build, you know, expand our  
20 casinos and things like that. And it's really difficult to  
21 get some of these energy companies to agree to bring more  
22 electricity to the reservations. So we want to take  
23 control of our energy sovereignty.

24           Job creation, it creates permanent jobs in rural  
25 communities.

1           Limited power available. We talked about that  
2 already with electric vehicles, data centers and so on.

3           Next slide, please.

4           So our project, we're looking at developing a  
5 pyrolysis or working with a developer of a pyrolysis system  
6 operating in an oxygen free environment, utilizing a  
7 thermochemical decomposition of organic material into a  
8 syngas. It will be self-powered by our syngas and a  
9 microgrid, so we'll use the syngas to power the entire  
10 facility.

11           The hydrogen purification by pressure swing  
12 absorption, so we'll purify the hydrogen from a 65 percent  
13 hydrogen-rich syngas to a 99.999 percent hydrogen-rich  
14 syngas. We'll use two inch minus the size of the chips  
15 that will run the feedstock to our facility. Again, the  
16 hydrogen percentage with the three nines at the end. I'm  
17 sure you guys all know this, but three nines are very  
18 important if you want to create sustainable aviation fuel.  
19 And we are planning on being a carbon neutral project at  
20 worst, carbon negative at best.

21           Next slide.

22           So the process, we have our feedstock biomass  
23 preparations that will receive and store the biomass, grind  
24 it up into two inch minus, make sure moisture contents what  
25 it should be to go through the system. Then we run it

1 through a high temperature pyrolysis system. It outputs  
2 about a 65 percent hydrogen-rich syngas and biochar, then  
3 it goes through a thermochemical decomposition where the  
4 syngas is now sent over to the pressure swing absorption,  
5 creating a 99.999 percent green hydrogen.

6 Next slide.

7 So biochar being the only byproduct of our  
8 facility, we wanted to make sure that there were good uses  
9 of biochar. And we started talking to the Biochar  
10 Coalition here in California and they educated us quite a  
11 bit on what biochar can be used for and what we should be  
12 looking to use our byproducts for, so water retention,  
13 enhanced nutrient availability, improved soil structure,  
14 increased crop yields, carbon sequestration, reduces soil  
15 acidity, absorbs pollutants and can be used as an additive  
16 for livestock feed.

17 So all that being said, hopefully you guys have  
18 heard, and if not, please look it up, the Trillion Tree  
19 Initiative was a good showcase for biochar. So what they  
20 did was the Sahara Desert was expanding year over year and  
21 just increasingly getting larger and larger, and they  
22 wanted to figure out a way to stop that expansion. So they  
23 used biochar rings and planted around vegetation on one  
24 side of the desert. And not only did that vegetation  
25 stop or did the -- sorry, did the desert stop expanding,



1 but that vegetation started growing into the desert, which  
2 shrank the size of the Sahara Desert rather than it  
3 expanding year over year. So I think that's a good, good  
4 example of what biochar can do.

5 Next slide, please.

6 Renewable and sustainable.

7 So renewable, there's 54 million dry tons of  
8 biomass available annually here in California. Biomass  
9 from multiple sources, so ag waste -- oh, sorry, that's not  
10 biomass. So feedstocks can come from multiple sources for  
11 a facility like this. You can use ag waste, MSW tires,  
12 biomass from the forest, construction waste, all types of  
13 different things.

14 Sustainable, economically viable and  
15 operationally predictable, competitively priced with other  
16 energy sources, green hydrogen production without high  
17 energy costs uses less water and energy than other methods  
18 of hydrogen production.

19 Next slide, please.

20 And then benefits of our product, so we utilize  
21 carbon capture, creates permanent jobs in rural California,  
22 reduces fuels on the forest floor, hopefully saving some of  
23 these mountains around here that our children enjoy for the  
24 next generation. Less smoke from fires. I don't know  
25 about you guys or those of you that live here in

1 California, but my children breathe in smoke from these  
2 fires every single summer, and I would like to make sure  
3 that that's reduced.

4 Green energy or gas, so you can create energy out  
5 of hydrogen or you can create fuel for the transportation  
6 industry.

7 Safer communities, utilizing the biomass from the  
8 forest here around our communities.

9 And then the seventh generation mindset, really  
10 just trying to figure out how to live every day considering  
11 that we are trying to sustain this place for the next seven  
12 generations and beyond.

13 Next slide.

14 Okay, EVM and forest management. So we own a  
15 forest management company called Essential Vegetation  
16 Management, and we have three very experienced partners  
17 that we partnered with on this endeavor. We have master  
18 stewardship agreements with four national forests all  
19 around us, so we have Shasta, Trinity, Modoc, Mendocino,  
20 Lassen, and Siskiyou, so five master stewardship  
21 agreements.

22 Traditional ecological knowledge. So, you know,  
23 roughly 200 years ago when tribes were no longer allowed to  
24 manage the forest here in California, we had traditionally  
25 been using fire to manage the forest, clearing out the

1 areas that got, you know, over or too much vegetation,  
2 helping some of the seeds pop so that we can grow new  
3 plants for food and things like that. And that has gone  
4 away for the past couple hundred years, and there has been  
5 an effort to revitalize TEK and utilize the tribe's  
6 knowledge about forest management to try to get some of  
7 these forests healthy again. So we're planning on working  
8 with TEK and trying to figure out how to support the  
9 national forest utilizing that.

10 We have a bunch of Caltrans contracts right now  
11 everywhere from San Diego all the way up to Siskiyou County  
12 and a bunch of counties in between.

13 We do vineyard maintenance for vineyards in Napa  
14 County.

15 Biochar utilization and reforestation. We are  
16 working with a few national forests right now and trying to  
17 show them the benefits of biochar and how we can utilize it  
18 for reforestation.

19 And then these three partners that we partnered  
20 with were instrumental in writing the Save Our Forest Act,  
21 so they put a lot of time and effort into that. And  
22 really, really great partners. They have the same mindset  
23 and forward thinking that the tribe does.

24 Next slide, please.

25 Rate increases related to fire. So, I don't know

1 about you, but I'm pretty sure everybody here in California  
2 has seen rate increases for insurance due to fire. My  
3 homeowner's insurance has at least doubled within the past  
4 four years, and I'm sure a lot of you are all experiencing  
5 the same things. At some point in time, if we keep this  
6 up, Californians aren't going to be able to afford to  
7 finance homes anymore, having the requirement of having to  
8 have fire insurance. So rate increases are a big thing  
9 right now.

10 Also, rate increases for electricity. You know,  
11 our insurances are going up, our electricity costs are also  
12 going up, and this is really steaming Californians at the  
13 time.

14 Next slide, please.

15 Challenges with this project. So this project  
16 absolutely has not been without challenges. We've had a  
17 handful of them and are still working through some of them.

18 So restrictions on funding for use of biomass  
19 source from federal lands. I've been told at the last  
20 panel that I spoke on that this is being worked on and  
21 there may be a solution, but 57 percent of California's  
22 forested land is owned by the federal government and we  
23 cannot utilize that biomass for certain funding that we've  
24 received for our project, so we're looking for a solution  
25 for that. We believe that even though that these forests

1 are owned by the federal government, we still need to  
2 maintain these forests here in California. They're still  
3 in our communities, they're still in our backyards, they're  
4 still places that we take our children to. So we  
5 absolutely need to include biomass from federal lands.

6 Infrastructure is not ready yet. When we started  
7 getting into this project, our main goal was to support the  
8 transportation industry and sell hydrogen to, you know,  
9 fueling stations and things like that, and it just hasn't  
10 come to fruition. In fact, last I checked, there's fewer  
11 fuel hydrogen pumps here in California than there was when  
12 we started this project. So we've slowed down a bit and  
13 are waiting for the rest of the industry to catch up so we  
14 can start seeing some of these fuel pumps come available  
15 and re-evaluate the project after some of this  
16 infrastructure is put in place.

17 Cost of transportation of biomass to the  
18 facility. This is an ongoing challenge for us. We're in  
19 the middle of having a feedstock study done right now to  
20 figure out how much feedstock is available within a certain  
21 distance of our facility. We have to keep the cost of  
22 biomass to the facility under \$44.00 a ton, and if we can't  
23 keep it under that, then it's not a feasible project, or  
24 we'll have to raise the price of hydrogen, one of the two.

25 Funding uncertainty. So with this new

1 administration, obviously everybody's had challenges with  
2 all their green energy funding going away and not  
3 completely certain of what's going to stay around and  
4 what's going to be stripped. So we're just kind of waiting  
5 and seeing where the dust settles so we can figure out what  
6 funding we can go after to get this project off the ground.

7 That being said, California has been very, very  
8 gracious with supporting hydrogen and helping get a lot of  
9 these projects going. So, you know, I think the main  
10 reason most of these projects are still moving forward is  
11 because of the state.

12 And then interconnection agreement challenges.  
13 So once we realized the transportation industry wasn't  
14 going to work out, you know, quickly, we started reaching  
15 out to different utility corporations and talking to them  
16 about interconnection agreements and things like that. And  
17 it is just a nightmare to try to get any of these utility  
18 corporations to agree to buy energy from us at the moment.

19 So those are the challenges with the project.  
20 And like I said, we're still working through some of these  
21 and waiting for funding to hit and figure out what's going  
22 to be available once that's all done and over with. We're  
23 waiting for infrastructure to be committed to so we can  
24 start seeing these pumps installed here in California.

25 And like I said, the first point here was

1 utilizing biomass from federal lands. And I've been told  
2 that there is a solution for that. So, I'm excited to hear  
3 what that solution is.

4 Next slide, please.

5 Capital stack. So Department of Conservation  
6 from California have awarded us a \$500,000 pre-development  
7 grant. And that's what we worked off of for the first year  
8 of getting this project going. CEC -- actually, I got that  
9 wrong. It wasn't CEC that we got that money from, it was  
10 the Forest Service. So we got a wood utilization grant  
11 from the Forest Service for \$300,000. We're working on  
12 amending that right now to cover our feedstock study.

13 The tribe spent over \$1.5 million so far of our  
14 own money trying to get this project off the ground,  
15 securing land and doing different studies.

16 DOE Direct Loan Program, they have a direct loan  
17 program that's specific to tribes. And we're in Phase 2 of  
18 the direct loan program with DOE, again waiting to see  
19 where the dust settles on that funding to make sure that  
20 it's still going to be available and get to the finish  
21 line.

22 And then leveraging the ITC, if it's still  
23 available, we have no idea if it's going to be available or  
24 not, but hopefully, being able to leverage the investment  
25 tax credit for that.

1           And then looking for additional grant funding, so  
2 we're always looking for additional funding to help get  
3 this project off the ground and make sure that it's able to  
4 happen.

5           Next slide, please.

6           All right, so I have a question slide on here,  
7 but I think they asked me to wait until the end, so I'll  
8 wait until the end for questions.

9           Thank you guys so much for listening to my  
10 presentation. And if anybody wants my email or anything  
11 like that, just let me know. I'll put it in the chat.

12          MR. ORTA: Great. Thank you, Jeremy.

13          So we're going to transition a little bit from,  
14 as Jeremy shared, the process of developing this project  
15 and the challenges. We will hear from Wladimir Sarmiento-  
16 Darkin from Linde. Linde is a company that specializes in  
17 various aspects of the hydrogen value chain from  
18 production, application, storage, transportation, and  
19 fueling.

20          Wladimir?

21          MR. SARMIENTO-DARKIN: Thank you, Jason.

22          Thank you, everyone, for the opportunity to talk  
23 to you today. Let's see, I have a couple of slides here to  
24 introduce Linde to the audience in case you haven't heard  
25 about us. And then I want to talk more about our vision



1 for kickstarting the heavy-duty mobility market for  
2 California; right? And these visions also apply for  
3 expanding the market, but I kept the presentation based on  
4 the kickstart part, so time-constrained. But you will see  
5 the similarities between this approach and what we are  
6 discussing with ARCHES and how this should be implemented  
7 for new projects and to grow the market.

8 But let's start with the next slide, giving just  
9 a quick view of Linde.

10 Linde, we have been around in business for over  
11 140 years. Actually, California was one of our first  
12 hydrogen production sites in the United States in the  
13 1960s, so we've been doing hydrogen for a while. We  
14 operate in more than 100 countries. And last year, we had  
15 a revenue of \$33 billion globally.

16 We have two big divisions. One division that is  
17 the Gas Division that is in charge of distributing,  
18 manufacturing and selling -- manufacturing, distributing,  
19 and selling the molecules. And another division, that is  
20 the Engineering Division that makes the equipment for these  
21 plants. But our Engineering Division also makes equipment  
22 for third parties. We make big facilities that we sell  
23 around. It's a world-class EPC division.

24 Next slide, please.

25 On hydrogen in particular, we have about 150

1 hydrogen sites around the world. We operate all kinds of  
2 hydrogen production technologies. So from steam methane  
3 reformer, that's what we have in California, to  
4 electrolyzers that -- we recently opened a 35-megawatt site  
5 in Niagara Falls, New York, to ATRs. We are building  
6 several of those as part of our blue hydrogen projects,  
7 partial oxidation units. You name it. We have been  
8 operating all kinds of technologies, and we have  
9 proprietary technology for most of them, including our  
10 liquefaction systems, which are also using Linde  
11 proprietary technology.

12           We have the largest network for liquid production  
13 in the United States, and that's why we have been always a  
14 big proponent of utilization of liquid hydrogen as a  
15 distribution mode. Because hydrogen -- liquid hydrogen,  
16 you can move it around easily, so you can back up faster  
17 and easier, you know, lots of molecules in any region.

18           As I said, we have 170 tons per day capacity. So  
19 yesterday, we produced about more than 100 tons of  
20 hydrogen. So when we talk hydrogen, we talk about what we  
21 have done in the past, not what we plan to do in the  
22 future. Also, that is included, but we have an experience  
23 in doing this. So I always, always ask, how many tons did  
24 you produce yesterday? And then we'll talk more about  
25 hydrogen; right?

1           We have a large pipeline of hydrogen in the Gulf  
2 Coast in the United States and in Europe. This pipeline in  
3 the Gulf Coast is about 500 miles, and it's attached to one  
4 of our hydrogen caverns, storing more than 6,000 tons of  
5 hydrogen, which makes the system in the Gulf Coast, you  
6 know, I think one of the largest in the world and the most  
7 reliable one due to the capacity that we have stored.

8           Operating more than 80 electrolyzers today, and  
9 we have two new plants of electrolyzers, one in Leuna,  
10 Germany, and one in Niagara Falls, New York, where we are  
11 expanding our experience with ITM technology.

12           Next slide.

13           I just want to show you quickly where our plants  
14 are. Five locations across the United States. The yellow  
15 triangles, let's concentrate on those. Those are the  
16 production sites. And as I said, one of them is in  
17 Ontario, California, which is in the outskirts of L.A.  
18 That plant has been there for more than 60 years. And then  
19 we have another four sites located in Texas, Alabama,  
20 Indiana, and New York.

21           As I mentioned before, we had 6,000 metric tons  
22 of storage cavern in our pipeline system in Texas, and we  
23 produce all kinds of carbon intensities through the  
24 network. We have the green hydrogen in Niagara Falls using  
25 hydropower from the Niagara Falls, and electrolytic. We

1 have green production in Ontario with renewable natural gas  
2 available, and we are working on two big projects that were  
3 announced last year for blue hydrogen in Texas area.

4 So moving on, I just want to talk briefly and  
5 quickly about -- to the next slide about liquid hydrogen.  
6 I know a lot of you have heard stories about boil off. I  
7 just want to use this opportunity to briefly say that the  
8 boil off is not a major concern, really, if you know what  
9 you're doing. And as I said, we have been doing this for a  
10 while.

11 Our customers, before, you know, the refueling  
12 systems were installed in California for heavy-duty  
13 mobility, the temporary systems. Before those were  
14 installed, we haven't had any issues with boil off before  
15 that. We understand boil off should be less than 7  
16 percent, less than 10 percent for sure, and these are the  
17 numbers that we have seen across our refueling stations.  
18 We have installed more than 200 of those worldwide. And  
19 you should have less than one percent in the distribution,  
20 less than one percent in the storage on the site, and less  
21 than five percent in your system. That's what we guarantee  
22 in our refueling stations anyway.

23 So I just want to make a quick note, just saying  
24 boil off for liquid is not an issue, and we should use the  
25 opportunity that we have the largest network in the U.S. to

1 facilitate the distribution of hydrogen for every state,  
2 but especially California, where we have one plant that can  
3 be backed up by several other sites in the United States.

4 So the next slide, we're going to start  
5 discussing how we see the market and how we see the market  
6 can take off for heavy-duty especially.

7 So next slide, please.

8 So we have seen California in the past have  
9 treated the hydrogen market as a compartmentalized sector,  
10 basically, and give providing funding and policies for the  
11 different portions of the market. You're treating the  
12 market as a production size, refueling stations,  
13 infrastructure, you know, and the vehicles, and, you know,  
14 some power applications.

15 And that has been the traditional approach. It's  
16 a very complex tax. You know, actually doing like this  
17 makes it more difficult. And you have incomplete  
18 information just because you are treating only one  
19 component in the whole system. So you don't really know  
20 how much funding or how much help you need to put on the  
21 refueling -- on the infrastructure side compared to on the  
22 hydrogen production side or in the vehicles. So there is  
23 no -- other than the parity versus the immediate  
24 competitor, you know, like say diesel, right, so you have  
25 to pay for pretty much all the refueling station just to

1 make it similar to diesel, or have to reduce the hydrogen  
2 cost to make it similar to diesel to replace it in a truck.

3           So there is no complete information. You don't  
4 know how to connect all this unless -- next slide, please.  
5 Can you go to the next slide? -- okay, unless you treat the  
6 system like a component of a project, and then you do a  
7 matrix approach to this. Now you take, you know,  
8 components, each one of the components in your system and  
9 make a full project that will work as a system, you know,  
10 coordinated, and now you know what to -- what you are  
11 targeting; right? And then you can get all the players of  
12 that project to work together from the beginning to define  
13 what are the key characteristics of the project that will  
14 make the project successful.

15           And as I said at the beginning, we are talking  
16 about this with all the players in the state, and  
17 especially ARCHES, which we are part of it, as a way to  
18 assign funding and make sure that the competitiveness is  
19 there; right? And I just want to talk briefly in my next  
20 slide, please, on what is the key metric that we think has  
21 to be the guidance for assigning resources. And I want to  
22 show the impact on the total cost of ownership, which I  
23 think we think is the key metric for heavy-duty markets.

24           So next slide.

25           So in this case, you know, we have here a total

1 cost of utilization ownership analysis for a 50-truck  
2 scenario and of Class A trucks. We are -- I mean, the  
3 assumptions are on the upper right side of the slide. But,  
4 you know, we start the analysis of the total cost of  
5 ownership, TCO, basically with diesel, which is a little  
6 bit less than \$1.50 per mile. And again, a lot of  
7 assumptions, but this is just for comparative purposes, and  
8 I hope you take it that way.

9           For the cost of ownership, we are assuming, you  
10 know, basically three major components, which is the cost  
11 of the truck, which includes the maintenance, the fuel, and  
12 then the HRS. And then we are quoting here, on the left  
13 side of the slide, we are quoting what are the tools that  
14 the state has put in place. California has a wonderful  
15 framework, regulatory framework in place to help this  
16 market take off. And all the tools are at hand now to make  
17 that happen.

18           So when you compare the total cost of ownership  
19 of a diesel truck versus a hydrogen truck with no  
20 incentive, this is what you get. You get \$1.50 versus  
21 almost \$4.00 per mile in the case of hydrogen. But now you  
22 have the different incentives in the state to start  
23 mitigating that extra cost. You take off about \$0.60 in  
24 the cost of ownership with a LCFS, you know, hopefully  
25 recover it with a new regulation in the order of \$100 per

1 metric ton. It's still around \$0.50, but it's trending  
2 upward, so everybody should expect that to be a reality in  
3 the future, hopefully.

4           And then you see how the CapEx subsidies coming  
5 from the Carl Moyer or EnergIIZE Program can shave about  
6 another dollar per mile and making -- you can see the total  
7 cost of -- I'm sorry, the cost of refueling of hydrogen in  
8 the bottom side of the bar. So we go from an initial  
9 \$20.00 per kilogram that you need to charge in order to  
10 recover all the investment in your capital, in your capital  
11 in your refueling station and your hydrogen production side  
12 to \$16.00 to \$9.00 once you have the HRS subsidies  
13 established. And then you get the HVAPs in the picture,  
14 you shave another \$0.40.

15           And that's where you will be, you know, if you  
16 don't have a better LCFS, probably around \$1.70, \$1.80,  
17 which is a small increment versus the diesel versus what we  
18 were seeing at the beginning; right? So with this, if the  
19 LCFS goes even beyond, you know, back to the values in  
20 2021-22, then you'll be a parity.

21           And then what we are saying is the tools for  
22 making this happen are already in place. And the capacity  
23 of production to do something like this, 50 trucks, and  
24 it's exactly -- it's present, so the capacity is there.  
25 You know, we have one plan. There are other producers that



1 have other sites. But the capacity is there to do this.

2           So we think just by focusing on the dry metric,  
3 in this case, TCO, and getting projects evaluated as a  
4 whole, not as a piece of your separated pieces, you can  
5 actually maximize the of the regulatory framework that  
6 already exists in the state, making the competitiveness of  
7 the technology possible, which is -- which has to be,  
8 according to us, the final and ultimate target, just to  
9 make this self-sustainable; right? That is the goal of all  
10 this. So the state and the federal government intervenes,  
11 put the subsidies in place, and then pack away, and the  
12 whole thing will run forever because it's commercially  
13 viable.

14           So just to finalize, my next slide, please, just  
15 want to say that, just to summarize, TCO, we think, should  
16 be the metric to deploy the resources in the heavy-duty  
17 market. A collaborative interagency effort in order to  
18 allocate these resources based on the TCO with microsystems  
19 in mined projects will be necessary. You know, we are --  
20 we have a plant in South California that can be used for  
21 the short-term seeding projects. Again, there are other  
22 sites that can also work with the state in making this  
23 happen.

24           And the same approach can be utilized for ARCHES  
25 big picture, you know, now 800 trucks, now including a new

1 facility production hydrogen, now 10 stations instead of 1,  
2 but the same approach based on the total cost of ownership,  
3 competitiveness, and parity with this; right? We got to  
4 get, obviously, operators like Pilo (phonetic) Trillion and  
5 others involved in this and work with all the OEMs that  
6 have offerings today for hydrogen refueling -- hydrogen  
7 fueling -- fuel cell, I'm sorry, vehicles.

8           And then we should approach the fleet owners with  
9 the numbers in hand, like saying, okay, now this is what  
10 you will be expending by using this truck. And as you can  
11 see, it's actually competitive versus your current  
12 alternative, which is diesel. And we can make that happen  
13 today. You just have to commit to get these trucks in the  
14 road. And then just start the discussions to instrument  
15 the projects that everybody's seen the details, obviously,  
16 but we think this is totally possible. And that's why we  
17 remain optimistic in the future of hydrogen for mobility,  
18 heavy-duty especially, and in California, you know, mainly.

19           So, thank you for your time. I'll be happy to  
20 answer and take your questions when the question session  
21 starts. Thank you.

22           MR. ORTA: Thank you. Thank you, Wladimir.

23           I just want to do a time check before we  
24 continue. This panel is scheduled, the presentations are  
25 scheduled to include at 2:50 and it's already 2:40. So we

1 have a pretty long agenda with a lot of good information,  
2 so let's try to finish this on time.

3 So our next presenter is Shailesh Topiwala from  
4 Bosch. And let's -- so please bring up Shailesh. Thank  
5 you.

6 MR. TOPIWALA: Good afternoon, everyone. Thank  
7 you for this opportunity to address this group. So, again,  
8 Shailesh Topiwala from Bosch, Director for our corporate  
9 and business development activities and responsible for  
10 several parts of our hydrogen portfolio.

11 Next slide, please.

12 I'll give a very brief highlight on Bosch. You  
13 probably have some touchpoint with Bosch, but you know,  
14 we're a privately held multinational conglomerate, over  
15 approximately \$100 billion across four key sectors, from  
16 mobility solutions to industrial technology, consumer goods  
17 to energy and building technology. And, you know, there  
18 are several key megatrends that are shaping our activities  
19 from electrification to defossilization, the vehicle  
20 transformation, power chain transformation in the mobility  
21 sector, the application of AI and IoT technologies that  
22 really impact a lot of our portfolio. And we're very proud  
23 to state that we have been CO2 neutral at Scope 1 level  
24 since 2020 for a company our size and our breadth. It's a  
25 pretty significant achievement.

1           Next slide, please.

2           So you guys know the challenges, but what is our  
3 motivation? You know, California has its targets for clean  
4 electricity, 60 percent by 2030, 100 percent by 2045,  
5 including carbon neutrality. And in the energy ecosystem  
6 and domain, 2045 seems like -- it may seem like a long way  
7 away, but it's really around the corner. You know, the  
8 challenges that have already been mentioned around, you  
9 know, the severe weather events, air pollution, the goals  
10 on decarbonization, dealing with decentralized energy  
11 systems, et cetera, these are all key factors.

12           But we also have solutions at hand. You know,  
13 leveraging flexible systems, modularity, scalability is key  
14 to solve the grid bottlenecks. You know, how do we  
15 complement renewables effectively to address, you know,  
16 ultra-low emission goals and in the end, deliver reliable  
17 power cost-effectively, whether it's stationary power for  
18 the grid or for end uses, or powerful mobile solutions?

19           So these are the drivers that we all have to  
20 think about, and one of the key motivations of Bosch's  
21 engagement in the hydrogen ecosystem.

22           Next slide.

23           I wanted to share this information to give some  
24 context of hydrogen. You're supposed to memorize all the  
25 colored dots here, just a little joke there, but what that

1 shows is all the offtake of hydrogen across North America,  
2 obviously U.S. focused, and the different colors of the  
3 dots are the different end uses, the diverse end uses. And  
4 when you look across this, you have this distributed  
5 landscape, also, of where the offtake is. And then from  
6 targeted low-volume use cases all the way to large  
7 industrial applications.

8           While we do have some hydrogen pipelines, as was  
9 mentioned before, in certain areas, we don't have a  
10 national hydrogen pipeline network, which creates a  
11 challenge in delivering the hydrogen to all of these  
12 endpoints. And this is where, you know, these factors  
13 create an opportunity for electrolytic hydrogen production.  
14 You know, this decentralized demand results in a high cost  
15 of delivery for hydrogen from centralized production  
16 sources.

17           So these smaller scale offtakers can definitely  
18 benefit from a localized production model; right? So  
19 electrolyzer systems that are smaller scale can be deployed  
20 adjacent to or very near to the offtake. This approach  
21 addresses some real industrial applications and uses and  
22 new demand centers from growing mobility and station power  
23 applications, the hydrogen trucks, buses, clean backup  
24 power systems, all of these types of applications.

25           And then underlying all of this is, of course,

1 corporate sustainability targets that we believe will  
2 remain a consistent driver for the deployment of cleaner  
3 and greener solutions in the hydrogen ecosystem.

4 Next slide.

5 So what is Bosch's role? Where are we focused  
6 across the value chain from production, storage  
7 distribution to use?

8 We do have a bit of a history here, but let's  
9 start on the use side, where Bosch's portfolio encompasses  
10 PEM technology in the context of our fuel cell. We've  
11 commercialized our PEM fuel cell for mobility. We have  
12 over 7 million miles and growing of real performance. So  
13 that's a key-plus to prove we can deliver at scale and then  
14 actually deliver the value to start challenging incumbent  
15 systems.

16 We're also commercializing combustion technology  
17 for both mobility and stationary heat and power  
18 applications. I think we have to take an all-of-the-above  
19 kind of view of where hydrogen can be used, fuel cells,  
20 combustion technology.

21 In the midstream, we're really focused on  
22 bringing reliability to hydrogen refueling stations and  
23 systems with a two-stage cryopump system, the lack of which  
24 has been a key hindrance for the mobility adoption.

25 On the production side, which is a key point that

1 I'm focused on, we're industrializing PEM stack technology  
2 to deliver really repeatable stack volumes to known and  
3 capable industry system integrators, so creating some  
4 optionality there. We're also working on addressing value-  
5 added purification, hydrogen gas detection, and hydrogen  
6 compression topics with some other portfolio offerings.

7 Next slide.

8 So let's dive deeper into two key areas and I'll  
9 wrap it up.

10 So when we think about refueling, as was  
11 mentioned before, you know, there's topics, you know, at  
12 different levels, but boil-off has been a key challenge.  
13 Really more important than that has just been the  
14 reliability of the refueling stations; right? So when a  
15 truck pulls up, a /car pulls up, you need to know that the  
16 pump is working.

17 And so what Bosch has focused on over the last  
18 few years is with our partner, FirstElement Fuel, is really  
19 to design a package, a modular package that really  
20 addresses that. And with our cryopump system in this  
21 footprint, we really have near zero H2 loss through that  
22 value chain of delivering hydrogen. We also address all  
23 formats. So making it a bit future proof so we can deliver  
24 liquid to 350 bar, liquid to 700 bar, Cassius (phonetic)  
25 format, or liquid to liquid, which really creates a nice

1 ecosystem. So when you put a system like this one into the  
2 field, you can address all different offtake types in the  
3 mobility sector.

4 The other key point is refueling times. You  
5 know, we've gotten that down to 10 minutes, which is a key.  
6 And then one of the most important things is the footprint.  
7 The footprint is significantly smaller, up to a quarter or  
8 even a sixth of the size of a traditional infrastructure of  
9 this type. So reducing site construction time because it's  
10 a modular container type approach that we can deliver, and  
11 the time to deploy. Obviously, all of that drives down  
12 cost. And the lower the cost, the better the overall  
13 levelized cost of hydrogen at the delivered point. And the  
14 one thing we're most proud of is increasing the reliability  
15 over 10X; right? Our maintenance cycles are over 4,000  
16 hours, and all of this comprises the high level of safety  
17 in the system.

18 So we believe this is going to be a game changer.  
19 We're launching into the market in California and Texas as  
20 a first step as we speak and have a solid pipeline of  
21 activity.

22 Last slide.

23 So on the production side, our main focus is  
24 electrolytic hydrogen using PEM technology, which has been  
25 around for a little bit, but not as long as alkaline, which



1 is over a century of experience, PEM a couple of decades.  
2 But, you know, the market has developed in that sector  
3 really with vertically integrated suppliers, which  
4 certainly has its benefits, but also some limitations. We  
5 believe by adding Bosch's competencies in high volume  
6 manufacturing, precision manufacturing, leveraging these  
7 competencies, we can deliver really a very reliable,  
8 repeatable, and scalable stack, which can then be leveraged  
9 by a number of system integrators that are already active  
10 in the energy and industrial gas domain.

11           And so by giving these integrators, you know, the  
12 heart of the system that's very robust and reliable from  
13 Bosch, they can then apply their competencies, provide  
14 optionality to different end uses in developing either  
15 containerized systems or larger plant solutions for  
16 electrolytic hydrogen production.

17           And so that kind of ties up, you know, the  
18 opportunity set. We are active in the California market,  
19 working on, you know, systems as small as, you know, half a  
20 ton to a ton a day of production, all the way up to 50 tons  
21 a day that we're working on, and of course also aligned  
22 with ARCHES. But our integrator partners such as Neuman &  
23 Esser, Nikkiso, H2B2, AKA Energy Systems, just to name a  
24 few, these are the types of integrators that already have  
25 experience in the hydrogen ecosystem, and they can now

1 leverage those competencies with Bosch to deliver some  
2 optionality in project design, again, driving down costs,  
3 and then the lower the cost, the better the adoption rate  
4 for green and clean hydrogen.

5 So with that said, I'll conclude for the sake of  
6 time. My last slide is just my contact information. I'm  
7 happy to answer questions when we get to that point.

8 MR. ORTA: Thank you, Shailesh.

9 Our next speaker is from H Cycle, which is a  
10 developer of hydrogen projects, and that speaker is Matt  
11 Franzen.

12 MR. FRANZEN: Yeah, good afternoon, and thanks,  
13 Jason. I understand we're short on time, so I'll get  
14 through this as quick as I can.

15 My name is Matt Franzen. I'm with H Cycle. I  
16 really appreciate the opportunity to join in this  
17 discussion. I'll share a brief overview of H Cycle and how  
18 we're navigating the complex intersection of waste, energy,  
19 and policy, three forces that are deeply interconnected and  
20 critical to the success of the emerging hydrogen market in  
21 California.

22 Next slide, please.

23 First, let me tell you a little bit about H Cycle  
24 and our mission. H Cycle was founded to address two urgent  
25 and interconnected challenges with a single scalable

1 solution. The first is the growing waste crisis. Not only  
2 around the world, but particularly in California, we're  
3 faced with mounting pressure to divert organic waste away  
4 from our landfills so that we can avoid emitting large  
5 quantities of methane. The second is the increasing demand  
6 for clean fuels, especially in hard to decarbonize sectors  
7 like heavy-duty transportation and industrial processes.

8 From the beginning, California was our main  
9 target market. The state offers a rare convergence of  
10 policy leadership that drives policy not just in the United  
11 States but around the world, market incentives, and then  
12 also support, regulatory support for the environment, both  
13 on the waste diversion side and on the hydrogen side.

14 On the waste side, California has implemented SB  
15 1383, which mandates a 75 percent reduction in organic  
16 waste to be diverted away from landfills. On the hydrogen  
17 side, the state has aggressively advanced its zero-emission  
18 vehicle targets, particularly across freight and across  
19 public transit fleets. These mandates have also been  
20 backed by significant funding and programmatic support from  
21 the state.

22 When you consider all these converging drivers,  
23 California provides the environment for us to develop,  
24 build, operate commercially viable facilities that  
25 transform organic waste into clean carbon-negative

1 hydrogen.

2           So next slide, please.

3           So the way that this process works, it's actually  
4 very similar to what Jeremy at Redding Rancheria is doing,  
5 except we are focused on municipal solid waste.

6           And I think, go to the next slide, please.

7           So we begin by receiving 385 tons per day of pre-  
8 sorted organic waste. This waste stream is black bag trash  
9 that you've put out by your curb. It gets moved to a MRF,  
10 which is a material recovery facility, where they take  
11 apart those bags, they recycle what they can. There's an  
12 organic stream that's left over. And then there's also a  
13 small portion of that that will still go to the landfill,  
14 and that would be like low BTU or no BTU value products  
15 like concrete or rocks, things like that. But we take this  
16 organic stream and we pass it through a waste preparation  
17 unit, where we shred it, we dry it, we condition it for  
18 conversion.

19           It then moves to our non-combustion thermal  
20 conversion unit, where we convert it into syngas. And so  
21 basically what we're doing is we're taking that solid waste  
22 stream and we're heating it up to 1,000 degrees Celsius in  
23 an environment without oxygen, so it can't ignite, there's  
24 no combustion, and we're basically turning that solid into  
25 a gas. And once that gas is there, it's very easy to

1 separate those molecules. And you're left with a syngas  
2 stream, which is basically a mixture of carbon monoxide and  
3 hydrogen.

4 That syngas is then run through the hydrogen  
5 production unit, which utilizes proven industrial  
6 technologies like water gas shift and pressure swing  
7 absorption to extract and purify the hydrogen, where we get  
8 to that point with the four nines purity. And then we also  
9 are left with a pure biogenic CO2 stream. So from 385 tons  
10 of waste, we're able to produce up to 25 tons per day of  
11 carbon-negative hydrogen.

12 And like Wladimir mentioned, at this volume and  
13 that scale, we believe liquefying is the only way to  
14 transport that much, to bring that much hydrogen to market.  
15 If the market is not ready to absorb 25 tons per day, which  
16 it's not today, we also have the flexibility to take that  
17 syngas and self-generate power on site. That's enough  
18 power for us to run the full energy needs of our facility.  
19 And then we're also able to sell the remaining renewable  
20 energy back to the grid, creating a secondary revenue  
21 stream.

22 Next slide, please.

23 So kind of focusing in on the waste dilemma that  
24 California is facing, at current waste generation levels,  
25 and assuming no new landfills are built, the state will

1 fall short of its landfill capacity in 2040. That will  
2 happen even sooner in some specific markets. So if you  
3 have a landfill close by that's closing, you would have to  
4 transport that waste even further, further increasing the  
5 cost and carbon intensity of moving that waste around the  
6 state.

7           And while SB 1383 mandates a 75 percent reduction  
8 in organic waste being delivered to landfills, the  
9 implementation of this has lagged, and we are behind those  
10 goals. Many of the approved pathways, like composting and  
11 anaerobic digestion, they're limited on the feedstock that  
12 they can intake, meaning that they can't process all of  
13 organic waste. And so that opens the door for a diversion  
14 technology like ours, where, one, we have the lowest carbon  
15 intensity score, and then, two, we're able to accept a wide  
16 range of feedstock.

17           Next slide. Next slide, please.

18           And then, on the adoption of hydrogen, it's  
19 critical to reducing the emissions here in California. For  
20 the mobility sector, particularly the heavy-duty transit,  
21 hydrogen remains one of the most scalable and impactful  
22 tools for decarbonizing that sector. The problem right now  
23 is that adoption hinges on a reliable supply at a cost  
24 that's competitive with diesel. And when you look at the  
25 chart on the left, and you look at the carbon intensity of

1 diesel, regardless of the production method, whether it's  
2 gray, blue, or green, switching away from diesel to  
3 hydrogen is an immediate reduction in emissions and  
4 improved air quality for those communities.

5           At H Cycle, since our process diverts organic  
6 waste from the landfill, and it avoids that methane  
7 emission, we get credit for that methane emission, and  
8 that's how we get to that negative carbon intensity score.  
9 And what that means is that we remove more emissions on a  
10 CO2-equivalent basis than what our process generates. And  
11 then, if you look on the far side, with the addition of  
12 carbon capture, we have the ability to further improve that  
13 CI score.

14           And in closing, like, I think what I'll do is  
15 I'll just pass it along over to Craig now with Kaizen  
16 Energy to save some time here.

17           MR. ORTA: Great. Thank you, Matt. Let's go  
18 ahead and do that, pass it on to Kaizen Energy.

19           MR. KLAASMEYER: There we go. Thank you. I'm  
20 Craig Klaasmeyer. I'm co-founder of Kaizen Clean Energy.

21           The prior panelists have largely addressed the  
22 supply side of hydrogen. At Kaizen, we're on the other  
23 side. We're creating demand for hydrogen, and we're using  
24 it as an energy carrier for distributed power generation.

25           Next slide, please.

1           So at Kaizen, we are making a 200-kilowatt off-  
2 grid power generator. It's a containerized unit requiring  
3 no site improvements; drop it off, and we'll have it  
4 commissioned in a day. The system's low-cost, we can  
5 produce power at half the cost of a diesel gen set, and it  
6 provides energy security. So fuel stored on-site will run  
7 this system for 12 days continuously.

8           Next slide.

9           The easiest way to think of us is as a clean  
10 replacement for diesel generators, anywhere diesel  
11 generators are used for primary power, you can replace it  
12 with a Kaizen system for a lower cost and without the  
13 pollution. Applications that are attractive to us include  
14 EV charging, particularly as a bridge power until grid  
15 upgrades can arrive, and industries that are electrifying,  
16 such as the construction and agriculture industries are  
17 both very attractive, as well as industries that are  
18 already very big users of diesel gen sets like events,  
19 concerts, movie studios, et cetera.

20           What all these applications have in common is  
21 going to be large power demands and interim deployment.  
22 That's really kind of Kaizen's sweet spot.

23           Next slide, please.

24           So there are a lot of hydrogen fuel cell power  
25 solutions available. What do we do differently?



1           First, we use methanol to transport hydrogen to  
2 the customer site. Methanol is a liquid at ambient  
3 conditions, which makes it a cheaper and easier way to  
4 transport than hydrogen itself.

5           Second, we store hydrogen at the customer site as  
6 methanol and produce hydrogen on site -- on demand. So we  
7 don't store any hydrogen actually at the customer site. It  
8 helps make permitting easier, and it also brings our cost,  
9 because diesel -- excuse me, methanol tanks are much  
10 cheaper than hydrogen storage.

11           And finally, we're unique in that we're the only  
12 scalable distributed generation solution that doesn't  
13 produce NOx, which is clearly a big issue in California.

14           Next slide.

15           A few notes on methanol. It is new to most  
16 people, but it's actually been a future fuel for like 30  
17 years now, so we're actually hoping its time is now.

18           But first, it's the lowest-cost hydrogen carrier,  
19 and this comes from the Department of Energy. It's low-  
20 cost because it's the densest carrier of hydrogen. And  
21 second, as I mentioned, it's a liquid at ambient  
22 conditions, which makes it much cheaper to transport and  
23 store.

24           Second, its safety characteristics are like that  
25 of diesel and gasoline.

1           And finally, it's widely available. We don't  
2 need to create a fuel infrastructure like hydrogen to get  
3 it to customers. The distribution center already --  
4 distribution infrastructure already exists.

5           Next chart.

6           Just quickly, how does it work? So this is the  
7 cutaway of the container. To start, we use a mixture of  
8 methanol and water as fuel. We actually get a third of our  
9 hydrogen produced from the water that we add at site, which  
10 reduces both our fuel costs and our carbon intensity.

11           The first step is reforming the fuel mixture into  
12 hydrogen, and that's going to be the gray box up front.  
13 That's our proprietary hydrogen -- excuse me, methanol-to-  
14 hydrogen reformer. The hydrogen that's produced is  
15 immediately consumed by a low-temp PEM fuel cell. In our  
16 case, we're using a standard 200-kilowatt reference design  
17 from PowerCell, which is a Swedish maker of fuel cells.  
18 And from there, the power goes to some nickel-zinc  
19 batteries. We use nickel-zinc because there's no threat of  
20 thermal runaway, so it's much easier to permit, and it's  
21 also much safer. And from there, we output the power,  
22 either as 480-volt three-phase into a customer's existing  
23 charging network or a skid-mounted charger that we can  
24 provide or, you know, any other application the client  
25 needs.

1           Not pictured here is going to be an above-ground  
2 fuel tank. They'll hold roughly 50-megawatt hours of  
3 usable energy. That's enough to charge 500 delivery vans  
4 from that one fuel tank, so quite a bit of power stored or  
5 energy stored on site.

6           Next slide.

7           So this is our proprietary hydrogen generator.  
8 It's a very simple design. It only has two moving parts,  
9 and the rest of the system operates through pressure  
10 differentials. The first stage is that we vaporize the  
11 methanol-water mix at a temperature substantially below  
12 where NOx forms. The vapor gas enters the radical core  
13 where hydrogen and associate gases are produced. And then  
14 the final stage is that the hydrogen is purified by a  
15 series of palladium membranes to produce an ISO-grade  
16 hydrogen.

17           The entire system is going to be a stainless  
18 steel construction, keep costs down, and we can do this  
19 because it operates at a much lower temperature.

20           I guess finally, we license both the technology  
21 and the design from one of our shareholders. The  
22 technology has been around for 20 years, and the design  
23 that we're using has over 20,000 operating hours on it, so  
24 it's been around for a while. This system is a metronome.  
25 It produces 230 kilograms a day from a six-foot by three-

1 foot footprint and produces the hydrogen just like  
2 clockwork.

3 Next, please.

4 You know, in terms of costs, our levelized costs,  
5 we produce power for \$0.35 a kilowatt all in, unsubsidized,  
6 and then \$0.25 a kilowatt hour with LCFS. So even  
7 unsubsidized, we're going to be cheaper than both diesel  
8 and propane generators, and obviously without the  
9 emissions.

10 Next. Next slide.

11 You know, our local emission profile is great.  
12 We emit no NOx, and Kaizen is the only scalable off-grid  
13 solution that can say that. We also don't emit any  
14 particulate matter, SOx, or any of the other criteria  
15 pollutants. And CO2 emissions are 30 percent lower than  
16 diesel using a gray methanol and can be near net zero using  
17 a biomethanol or an e-methanol.

18 Next slide.

19 So we have been operating units for the past two  
20 years, and we're excited to be deploying our first  
21 Californian unit in the next month or so. This system is  
22 going to be going topside of a vessel operating in the San  
23 Pedro Bay outside the Port of Long Beach, and it will be  
24 replacing a diesel genset on a vessel that does  
25 environmental remediation of tankers in the bay. It will

1 be a great demonstration for our systems, and we look  
2 forward to getting it in the field and being able to show  
3 it off to everyone.

4 Next slide.

5 So I've been talking up to now about power  
6 generation. Our methanol-to-hydrogen reformer is equally  
7 capable of hydrogen fueling. We can scale with fleets from  
8 200 kilograms to 1,000 kilograms a day, all from a very  
9 small footprint that can slot in just about anywhere.

10 Next slide.

11 We can put hydrogen in the tank, operating  
12 expenses for less than \$7.00 a kilogram unsubsidized, and  
13 we can do all this because we've basically taken all the  
14 transportation costs of hydrogen out of the system.

15 Next slide.

16 So to wrap things up, we offer California an  
17 interim distributed generation solution that doesn't emit  
18 NOx, provides unmatched energy security, and does it at a  
19 lower cost than diesel gensets. You know, we appreciate  
20 the support. We look forward to working together to reduce  
21 criteria pollutants and, you know, look forward to  
22 questions.

23 Thanks.

24 MR. ORTA: Thank you, Craig, for presenting for  
25 Kaizen, and thank you to all the speakers on this panel for

1 some very informative and enlightening presentations.

2 Because we are a little bit behind on time, I  
3 will transfer control of the meeting to the dais for  
4 discussion.

5 VICE CHAIR GUNDA: Thank you, Jason. I'm just  
6 checking on time, so we have -- you know, we're running a  
7 little close to the time here, but I do want to squeeze in  
8 a couple questions if we can --

9 MR. ORTA: Sure.

10 VICE CHAIR GUNDA: -- starting with Commissioner  
11 Gallardo. Would you want to go?

12 COMMISSIONER GALLARDO: Well, bravo to all of you  
13 for the technologies, all the advancements you're  
14 presenting. I'm really grateful to you sharing your  
15 insight. I am going to limit it to just a couple questions  
16 instead of questions for all of you or each of you.

17 So one of my team members, this question is for,  
18 sorry, let me see, Linde. Are you Wladimir? One of my  
19 team members was asking about the benefits of storing  
20 hydrogen in caverns. So you showed us an example. We're  
21 just curious if you could speak more to why you would use a  
22 cavern for storage.

23 MR. SARMIENTO-DARKIN: Well, yeah, thank you for  
24 the question. A cavern is, whenever the geological  
25 condition exists, it allows you to store hydrogen at

1 pressure without having to make the investments to do so.  
2 Building the tanks to store gas hydrogen at high pressure  
3 is expensive. So whenever you have a geological formation  
4 that allows you to do that, you can take advantage of  
5 Mother Nature and save a lot of capital costs in doing so.  
6 So that's basically the key advantage.

7           Unfortunately, they are not as frequent as you  
8 may want. So there are only a few places where you can use  
9 them in the U.S.

10           COMMISSIONER GALLARDO: Okay. Thank you.

11           And then the next question is for Shailesh from  
12 Bosch. There was a graph you showed, and I think I saw a  
13 multitude of data centers as an example of end use  
14 applications. And I'm just curious if those are being  
15 powered up by fuel cells? Is that what that was?

16           MR. TOPIWALA: No, that was a graph of just  
17 multiple end use offtake, a data center being one, but  
18 refineries, it was just to show a map.

19           But to address specifically data centers, as we  
20 all know what's happening, you know, the scale up for AI  
21 and the hyper growth there and the need for clean energy,  
22 we see the application, potentially, of fuel cell powered  
23 systems for backup power. You could even -- and then for  
24 prime power, you know, combustion technologies, these large  
25 turbines, air-driven turbines that can run on hydrogen can

1 be used to do base load power, especially, you know,  
2 considering that many of these data centers will now have  
3 their own islanded power gen facilities going forward.

4 So just something to think about, but I'm sure  
5 the industry will be, you know, working towards solutions  
6 that can meet the need and scale up the appropriate  
7 different technologies, combining them to address the data  
8 center needs. We already see any announcements in the  
9 press, so --

10 COMMISSIONER GALLARDO: Okay. Thank you. And  
11 congratulations for that 10-minute truck refill. That's  
12 exciting.

13 MR. TOPIWALA: Yeah, it's important. Thank you.

14 COMMISSIONER GALLARDO: Absolutely.

15 And then, Matt, I was just going to congratulate  
16 you, too, for thinking about how to more than one problem  
17 with a solution, so really appreciate that dual purpose.  
18 I'll turn it over to Vice Chair Gunda, unless, Matt, did  
19 you want to respond with more of a comment?

20 MR. FRANZEN: No. Thank you.

21 COMMISSIONER GALLARDO: All right. Thank you.

22 VICE CHAIR GUNDA: Thank you, Commissioner  
23 Gallardo.

24 Yeah, I also want to just thank the panelists.  
25 You know, there's a lot of good information. Let me kind



1 of just construct a couple of 30,000-foot level questions,  
2 maybe, you know, starting with Jeremy.

3           Jeremy, thank you again for your presentation.  
4 You know, one of the things when we think through the  
5 hydrogen, I think there's a lot of concerns around  
6 community impacts and, you know, the general, you know,  
7 hydrogen being, you know, a pathway for potential extension  
8 of fossil. You know, that's a criticism that we often  
9 hear. So it's kind of really interesting to hear from you  
10 specifically as you represent, you know, kind of, you know,  
11 the support. You know, what kind of, you know, support do  
12 you see for hydrogen within, you know, what you represent?  
13 Jeremy, are you still there?

14           MS. NAKAGAWA: This says Jeremy had to leave.

15           VICE CHAIR GUNDA: He had to leave? Okay. No  
16 problem. Thank you.

17           So the other question, maybe more broadly to the  
18 panelists, you know, just what I see is, you know, one of  
19 the things that we often forget is how expansive the usage  
20 of hydrogen today is, especially in certain sectors. And,  
21 you know, generally, the infrastructure that exists for  
22 transporting, you know, whether it's, you know, oil and gas  
23 industry or others, could you just help explain, you know,  
24 from an industry perspective, where do you see the biggest  
25 barriers for hydrogen? Is it moving from grey hydrogen

1 systems to more of an electrolytic green hydrogen systems  
2 or, you know, just the scale or the geographical diversity  
3 of where the use cases are? Can you just kind of frame on  
4 how you see both the market opportunity, but the barriers  
5 in terms of, you know, knowing that there is a pretty good  
6 scale of hydrogen usage today to the future in terms of  
7 different sectors and categories?

8           Maybe, Shailesh, given that, you know, you've  
9 raised kind of the opportunity across a broad class, it may  
10 be helpful if you can start off with that.

11           MR. TOPIWALA: Yes, certainly, and I think other  
12 panelists can chime in.

13           You know, the existing footprint of hydrogen use  
14 is significant and it's there. And I guess one key thing  
15 is I think we need to be mindful that the energy transition  
16 is not going to be easy in short term. You know, we  
17 already see the exponential demand just from the data  
18 center market; right? This is on top of our energy system  
19 today. And so for us to think that we're going to do this  
20 short term overnight, do everything, and meet the growth  
21 demands, I think it's a challenge in itself.

22           So I think the way to look at this is to say, can  
23 blue hydrogen, can carbon capture play a significant role  
24 to address existing infrastructure or existing demand  
25 centers to start to decarbonize as quickly as we can? Yes,

1 it's still fossil based but, you know, we have a fossil  
2 energy system and, you know, that's the fact.

3           As we add on new energy demand, this is where we  
4 need to look at and say, well, can we go cleaner and  
5 greener, right, as a first step instead of extending fossil  
6 basis. So I think that's the mindset that at least I try  
7 to approach it with in discussions.

8           And I see that, you know, I think there's a lot  
9 of debate, liquefied versus gas, transport of hydrogen, and  
10 I think the answer is both. I think clearly there's, and I  
11 see Vladimir has his hand up, we'll definitely chime in on  
12 the liquid case, and I think it has all its merits. But as  
13 I mentioned before, you have so many -- so much offtake  
14 that's smaller scale, where it will just initially not be  
15 cost effective, as cost effective to deliver a liquid form.  
16 And can you address those with smaller solutions, smaller  
17 footprint, production centers, potentially? To be seen;  
18 right? I think these are concepts that are playing out.  
19 Different stakeholders are starting to test that model and  
20 deploy some systems.

21           But I'll pass it on to Vladimir or whomever else  
22 wants to make a comment.

23           MR. SARMIENTO-DARKIN: Thank you, Shailesh.

24           I just want to say, I think, you know, apart from  
25 the distribution, you know, just to address the question,

1 what are the challenges, I think the main challenge is  
2 regulatory framework; right? I think that is a key  
3 indication for the industry, the signal to move forward and  
4 all that. And as I said in my presentation, I think  
5 California has a nice regulatory framework in place  
6 already.

7           So, to me, one of the key challenges is to get  
8 everybody to work together on the same objective, and I go  
9 back to the TCO as a critical point. It's difficult for  
10 this. And every time you go to a hydrogen presentation,  
11 you hear about the egg and the chicken and the egg and the  
12 chicken. And we, at this point, know where all the eggs  
13 and where all the chickens are. We just have to get all of  
14 them and, you know, somehow organize them; right? And I  
15 think that's the critical challenge today.

16           We have a technology that works beautifully. I'm  
17 talking about the heavy-duty market, and I will make a  
18 quick comment on the other technologies, but we know the  
19 product works. These trucks are wonderful. And, you know,  
20 to Matt's point, they reduce to zero the point emission  
21 versus diesel. So when you compare a diesel truck with a  
22 fuel cell truck, the comparison is emissions versus no  
23 emissions. It doesn't matter what kind of hydrogen you  
24 have in that truck; right? And as Matt mentioned, just the  
25 fact that you're using even gray hydrogen is reducing the

1 CO2 emissions, which I think are important, but secondary  
2 to the point reduction, because the ports communities or  
3 the communities around the ports are not suffering from the  
4 CO2 that these trucks emit. They are suffering from the  
5 particulates and NOx and the noise that these vehicles  
6 emit, which are completely 100 percent at risk with the  
7 hydrogen, no matter the origin; right?

8           And I think in terms of the other applications,  
9 it's more difficult. I think the market will need more  
10 development on those sides, but I think in mobility, heavy-  
11 duty especially, we are so close to make it happen. It's  
12 just about getting the proper coordination in place. And I  
13 let my fellow panelists to talk more about it.

14           Thank you.

15           VICE CHAIR GUNDA: Thank you, Wladimir. And if  
16 anybody else want to comment, I'm also just rushing because  
17 of time, but if anybody else has any other comment, if not,  
18 I'll pass it back to Sandra.

19           MS. NAKAGAWA: All right. Thank you so much,  
20 everyone. Thank you, Jason, and thank you to our  
21 panelists.

22           While, we did have plans to have audience Q&A at  
23 this time, because we are running over 10 minutes behind,  
24 we are going to move to our next panel. So Max Solanki  
25 will be moderating this. Max is one of my colleagues at

1 the CEC.

2 VICE CHAIR GUNDA: Sandra, just on the Q&A, I  
3 think I only see a couple of questions. Do you want to  
4 just take --

5 MS. NAKAGAWA: Yeah --

6 VICE CHAIR GUNDA: -- a couple questions quickly?

7 MS. NAKAGAWA: -- we can take a couple.

8 VICE CHAIR GUNDA: Yeah.

9 MS. NAKAGAWA: I'll turn it over to Ning then.

10 Ning, if you're able to jump on and moderate a  
11 couple of these questions we have in the Zoom Q&A, that  
12 would be great.

13 MS. ZHANG: Okay. Thank you, Sandra.

14 Hi, everyone. My name is Ning, and I am the  
15 monitor of this panel's Q&A section.

16 Actually, we have three questions in the chat,  
17 and the first question is from John, and his question is  
18 that,

19 "I'm curious to hear the panel's thoughts on the  
20 challenges and the cost of large-scale hydrogen  
21 storage, which is particularly important for green  
22 electrolytic hydrogen to play a role as a seasonal  
23 storage resource in the power sector, to tie back to  
24 the conversations on reliability and the claim for  
25 resource earlier today.

1           "For context, E3's ongoing work with the CEC is  
2           finding that California has extensive potential  
3           resources for geologic storage in the form of  
4           deprecated fossil fuel reservoirs, but they are still  
5           very expensive, and some end users would be unable to  
6           use the stored hydrogen without large-scale  
7           purification technologies that are currently very  
8           expensive."

9           So this is the first question. Can anyone in our  
10          panel help to answer this question? Thanks.

11          VICE CHAIR GUNDA: Do we know if the panel is  
12          still there?

13          MS. NAKAGAWA: We do have some panelists. Any  
14          panelists want to jump in on that one?

15          I thought maybe, Ning, do you want to read the  
16          next one and people can reread that first one, see if it  
17          seems like something they're able to answer. Yeah, go  
18          ahead, Ning.

19          MS. ZHANG: Thank you. Yeah, the question is a  
20          little bit long for the question.

21          Yeah, I will move to the second question. The  
22          second question is from Michael. I'm sorry if I pronounce  
23          your name now, please correct me. And the question is  
24          that,

25          "We see in this series to attract renewable hydrogen

1 production including electrolytic energy rates are  
2 critical. The California Hydrogen Coalition has  
3 worked with MIT on modeling the economics around the  
4 CapEx and the OPEX of hydrogen production focused on  
5 energy costs. Will there be an opportunity to discuss  
6 some benefits such as the flexible load, grid  
7 management, and the needs such as time-matched  
8 renewables which are not offered in Western market  
9 today in grade access for hydrogen production in the  
10 IEPR process?"

11 That's it. Thank you. And anyone can help  
12 answer this question.

13 MS. NAKAGAWA: I can speak briefly to the IEPR  
14 process. So today's workshop is part of the 2025 IEPR  
15 proceeding. People are welcome to make public comment  
16 today and have written comments for about three weeks  
17 afterwards. We will also be releasing a draft of the IEPR  
18 this fall and welcome public comments there. So that can  
19 be another opportunity to discuss some of these other  
20 issues if stakeholders do believe that things like flexible  
21 load, grid management, needs of time-matched renewables, if  
22 there's more discussion needed there.

23 Thanks, Ning. Let's go to our last question.

24 MS. ZHANG: Yeah. Thank you.

25 And the last question is from Zach and his



1 question is for Craig. And the question is that,

2 "Why the decision to vaporize the methanol or water  
3 mix versus utilizing a methanol fuel cell with direct  
4 catalysis platinum and palladium membrane?"

5 So, Craig, can you help answer this question?

6 Yeah. Thank you.

7 MR. KLAASMEYER: Yeah, so it's a lower cost,  
8 first of all.

9 Second of all, it's scalable. There are a few  
10 direct methanol fuel cells out there, but as much -- the  
11 largest I've seen is 5 kilowatt units. As you said, we're  
12 using 200 kilowatts now in our system. We'll be quickly  
13 using 250. So it has to do a lot with cost and scale.

14 MS. ZHANG: Yeah. Thank you, Craig.

15 MR. KLAASMEYER: Thank you.

16 MS. ZHANG: And thank you for answering this  
17 question.

18 And, Sandra, do you need me to move back to the  
19 first question or like we --

20 MS. NAKAGAWA: It doesn't sound like we had  
21 anyone on the panel that was jumping in to answer that one,  
22 so we are going to move on. Thank you so much, Ning.  
23 Thank you, panelists. Thank you, Jason.

24 We are going to turn it over to Max Solanki,  
25 Branch Manager of the Fuels Analysis with the CEC, who's

1 going to be moderating our final panel.

2 Max, over to you.

3 MR. SOLANKI: Thank you, Sandra. Can you hear  
4 me?

5 MS. NAKAGAWA: Yes, we can hear you.

6 MR. SOLANKI: All right. Good afternoon. Good  
7 afternoon, Vice Chair Gunda, Commissioner Gallardo, Deputy  
8 Executive Officer Sahota, panelists and attendees. I'm Max  
9 Solanki, Manager of the Fuels Analysis Branch at the  
10 California Energy Commission. We are now beginning panel  
11 six, Senate Bill 1075 analysis. This panel brings together  
12 Jea Broody of CARB, Sasha Cole of CPUC, Sammy Sallam of --  
13 Sammy Sallam and Quentin Gee, both from the CEC, to present  
14 their respective SB 1075 analysis in support of the  
15 upcoming Integrated Energy Policy Report. The agencies  
16 have shared their analysis, reviewed inputs, and have had a  
17 collaborative dialogue as we align together on policy  
18 development pathways under SB 1075.

19 Speakers, please turn on your cameras as I  
20 introduce you and your session.

21 Our first speaker is Jea Boodry, who is an Air  
22 Resources Engineer with the California Air Resources Board.  
23 She will be presenting SB 1075 analysis overview.

24 Jea?

25 MS. BOODRY: Yeah. Thank you for the

1 introduction, Max.

2           Good afternoon, everyone. My name is Jea Boodry.  
3 I'm an Air Resources Engineer at CARB and one of the  
4 primary staff working on the SB 1075 analysis, and I'll be  
5 presenting on the agency's behalf for this panel. Today,  
6 we will present an overview of the work we've done so far  
7 in the SB 1075 process. I will provide an overview of the  
8 background on hydrogen in California leading into the  
9 current status of the report.

10           Next slide, please.

11           To start, let's discuss California's climate  
12 goals from a broad perspective.

13           The line graph on the left shows annual emissions  
14 from 2000 to 2022 and California's statutory greenhouse gas  
15 emissions reductions targets of 2020, 2030, and 2045. The  
16 greenhouse gas emissions inventory shows that California  
17 achieved the 2020 AB 32 target of returning to 1990  
18 emissions levels several years early in 2014, and the  
19 inventory has remained below the target through 2022.

20           In 2016, the legislature called for a 40 percent  
21 reduction in emissions below 1990 levels by 2030. And  
22 recently, in 2022, the legislature established two goals to  
23 reduce the anthropogenic greenhouse gas emissions by 85  
24 percent compared to 1990 levels by 2045 and to achieve  
25 carbon neutrality no later than 2045, meaning that for

1 whatever emission sources exist at that point, there's an  
2 equivalent or greater amount of natural or technological  
3 carbon sets.

4 Next slide, please.

5 Achieving carbon neutrality is our most ambitious  
6 climate goal to date, and it will deliver major benefits.

7 The Scoping Plan lays out a cost-effective and  
8 technologically feasible path to achieve carbon neutrality.

9 The Scoping Plan covers emissions across all sectors,  
10 requires unprecedented deployment of low-carbon technology  
11 and energy and harnessing of nature-based climate  
12 solutions.

13 The left half of this slide highlights key  
14 metrics in the Scoping Plan scenario, showing the scale of  
15 transformation called for within the next couple of  
16 decades. You'll note here that the Scoping Plan identified  
17 tremendous growth in the supply of hydrogen as a key  
18 element in achieving emissions reductions and carbon  
19 neutrality. What this also infers is a substantial  
20 increase in the use of hydrogen. Displacing fossil fuel  
21 with renewable hydrogen is a key energy transition action.

22 The right half shows some key outcomes that would  
23 result from achieving the plan's actions for clean energy,  
24 technology deployment, and natural and working lands  
25 management.

1           Next slide, please. Oh, sorry, next slide.

2           California will deploy a range of options to  
3 decarbonize our economy, including widespread  
4 electrification of vehicles and buildings, as well as  
5 development of clean electricity and fuels.

6           Hydrogen is especially important for end uses  
7 with limited options to substitute for fossil fuels. This  
8 includes pipeline blending or low levels of hydrogen  
9 blended into fossil gas pipelines to lower the carbon  
10 content of fossil gas, aviation and maritime shipping,  
11 industrial uses both for heating and as a feedstock to make  
12 chemicals, fertilizer, and low-carbon fuels, and  
13 transportation fueling, especially in the medium and heavy-  
14 duty sectors or in off-road equipment.

15           Our deployment of hydrogen will focus on a  
16 handful of key ideas. Low-carbon sources for hydrogen will  
17 be the focus of the state, mainly electrolytic hydrogen and  
18 biomass-derived hydrogen, which makes up the source for all  
19 hydrogen by 2045 in the Scoping Plan.

20           Federal funding is a key part of our current  
21 plans that we recognize that some recent and proposed  
22 actions affect our original vision for the role it would  
23 play. We hope the conversation today and our analysis will  
24 address some of that change and uncertainty.

25           Many methane end uses could be replaced by

1 hydrogen, both reducing greenhouse gas emissions and  
2 improving air quality. And non-combustion options broadly  
3 will be prioritized to improve health outcomes of hydrogen  
4 in end use.

5 Next slide, please.

6 The 2022 Scoping Plan update modeled integration  
7 of low-carbon hydrogen in multiple sectors and anticipates  
8 that hydrogen fuel cell vehicle use in the transportation  
9 sector will serve as an important part of the state's  
10 transition to zero-emission vehicles, particularly for  
11 medium and heavy-duty vehicles, as mentioned on the  
12 previous slide.

13 The other end uses with less total demand make up  
14 the rest of the anticipated use. These uses include  
15 renewable hydrogen that is blended into the natural gas  
16 system to reduce fossil gas use in buildings, rather, to  
17 replace fossil fuel in certain industries and used to meet  
18 electricity demands.

19 I also want to recognize that the Scoping Plan  
20 was done at a point in time when the issues around hydrogen  
21 use were evolving quickly, so while I want to share the  
22 plans and projections in the Scoping Plan, we're actively  
23 growing our understanding. The SB 1075 Report is an  
24 essential part of that growth and will explore a wider  
25 range of end uses.

1                   Next slide, please.

2                   In the 2022 Scoping Plan update, hydrogen is an  
3 alternative fuel for liquid transportation fuels and  
4 natural gas, and the modeling estimated the annual amount  
5 of hydrogen needed to achieve greenhouse gas emission  
6 reduction goals from now out to 2045.

7                   The modeling assumes that hydrogen is supplied by  
8 three methods: electrolysis powered firm zero-carbon  
9 electricity; steam methane reformation of biomethane; and  
10 biomass gasification with carbon capture and storage. The  
11 volume that each method could contribute as modeled is  
12 shown on the slide.

13                  For the Scoping Plan, the electricity needed to  
14 produce the anticipated hydrogen supply was not captured in  
15 the modeling of the electric sector as a whole. Rather,  
16 the Scoping Plan includes an approximate number of off-grid  
17 solar that directly feeds hydrogen production and is not  
18 integrated with the broader grid. These model assumptions  
19 were strictly for the purpose of the Scoping Plan utilizing  
20 information that was available at the time.

21                  The SB 1075 Report will build on that foundation,  
22 serving as the next step in CARB's understanding of the  
23 issues surrounding hydrogen production and growth and  
24 supply we expect in the coming years. This is an area of  
25 rapid development, and our work will provide a stronger

1 basis that reflects the ongoing transition.

2 Next slide, please.

3 CARB is currently supporting growth of hydrogen  
4 demand through zero-emission vehicle deployment. We're  
5 active in supporting the development of zero-emission  
6 fleets across the state through the Advanced Clean Fleets  
7 regulation.

8 During the development of ACF, CARB staff  
9 evaluated many potential compliance scenarios based on  
10 market data available at the time and extensive engagement  
11 with equipment manufacturers and fleet owners. CARB  
12 evaluations anticipated potential for fuel cell electric  
13 vehicles in the medium and heavy-duty space, with fuel  
14 cells making up a large portion of this market. State and  
15 local fleets will still comply with these rules, which will  
16 support zero-emission vehicle adoption in the public sector  
17 under the mandate that all new vehicle purchases in state  
18 and local fleets must be zero-emission vehicles by 2027.

19 In July 2023, CARB also reached an agreement with  
20 the major manufacturers of heavy-duty engines and vehicles  
21 referred to as the Clean Truck Partnership. The  
22 manufacturers in the agreement agreed to comply with the  
23 Advanced Clean Trucks regulation and the requirement to  
24 only sell zero-emission vehicles beginning in 2036, thereby  
25 committing to work with CARB to achieve our state's



1 ambitious clean air goals.

2           The Innovative Clean Transit Regulation, adopted  
3 in 2018, encourages proactive planning for future zero-  
4 emission vehicles by requiring agencies to submit rollout  
5 plans to CARB. This also gives CARB a clear view on  
6 planned battery electric and fuel cell bus rollouts that  
7 transit agencies will rely on to meet the regulation's  
8 requirements.

9           And finally, CARB has a suite of education and  
10 incentive programs that help maintain and accelerate zero-  
11 emission vehicle market development. These include our  
12 Clean Truck and Bus Voucher Program, or HVIP, Clean Off-  
13 Road Equipment Vouchers, or CORE, School Bus Replacement  
14 Grants, and the Zero-Emission Truck Loan Pilot Program.

15           While CARB actions are expected to continue  
16 supporting demand for fuel cell trucks and buses, the most  
17 critical supply-side development will be growth in the  
18 availability of low-carbon hydrogen for transit agencies  
19 and fleets across the state. This is also a critical step  
20 in these organizations' planning, and it is important for  
21 public and private partners to work to support efforts that  
22 increase the availability of low-carbon hydrogen.

23           Next slide, please.

24           As we're discussing on this panel, SB 1075  
25 directs CARB, in consultation with other partner agencies,

1 to conduct a broad range of technical, market, and policy  
2 analysis that will support hydrogen production and use  
3 across many sectors of the economy, including those that  
4 are most difficult to decarbonize.

5 Next slide, please.

6 Moving on from the foundation laid by the Scoping  
7 Plan and other actions California is taking to implement  
8 hydrogen, let's discuss a little on the work done for SB  
9 1075.

10 This slide shows the specific analyses that the  
11 legislature has directed CARB to include in the SB 1075  
12 evaluation of hydrogen production and uses in California.  
13 To support this work, CARB awarded a research contract to  
14 E3 last year, and work began in July 2024. Our report will  
15 paint a picture of what the state of hydrogen in California  
16 could be in the short and long term. We'll be analyzing  
17 potential feedstocks, hydrogen transmission and  
18 distribution methods, possible end uses, air quality and  
19 health outcomes, safety and related standards, economic  
20 development and job creation, and policy recommendations.

21 It is important to keep in mind that this report  
22 provides recommendations on these topics. There are no  
23 regulations or programs that are guaranteed to come out of  
24 this report.

25 Next slide, please.

1           Throughout the process of developing the SB 1075  
2 Report, we'll be holding two types of meetings. We'll hold  
3 daytime workshops where we'll be sharing preliminary  
4 results, which includes presentations done by CARB and  
5 contractors supporting the efforts. The first of these  
6 workshops was held in February, discussing E3's technical  
7 work on production, transmission, transmission and  
8 distribution, and end uses for hydrogen. We plan to hold  
9 another workshop to discuss the results on all topics. At  
10 the workshops, there will also be opportunity for public  
11 comments so that we can receive feedback from stakeholders  
12 who are available during the daytime.

13           We'll also hold community meetings where brief  
14 presentations will be made to share information about the  
15 SB 1075 work underway. This will be more high level and  
16 focus on collecting input from community members. These  
17 will take place in the evenings to accommodate those who  
18 can't attend the daytime events. We've held three such  
19 meetings so far, one in Oakland, one in Harbor City in  
20 South L.A., and a virtual meeting. We're planning on  
21 hosting another meeting on August 6th in Lancaster, so next  
22 Wednesday.

23           Next slide, please.

24           Our updated timeline for the report is shown  
25 here. Most of our work this year will focus on community

1 meetings and workshops in parallel with work on the report.  
2 We'll release the draft report for public comment in Q4 of  
3 this year and expect the final report in early 2026.

4 Next slide, please.

5 Thank you all for your attention during our  
6 presentation, and I'll pass the microphone to Sasha Cole to  
7 discuss the CPUC's work on hydrogen.

8 MR. SOLANKI: Thank you, Jea, for your  
9 presentation.

10 So our second speaker is Sasha Cole. Sasha is a  
11 Senior Analyst. Can you hear me?

12 MR. COLE: Yes.

13 MR. SOLANKI: Okay. Sasha is a Senior Analyst on  
14 the Renewable Gas Team at the California Public Utilities  
15 Commission. He will present hydrogen related activities at  
16 the CPUC.

17 Sasha, take it away.

18 MR. COLE: Thank you, Max. You can go to the  
19 next slide.

20 So just to follow up with Jea, the CPUC was  
21 assigned a consulting role on the 1075 Report, so we're not  
22 really the main authors. We're not. We're just  
23 consulting, and we don't generally produce reports like  
24 this, like the IEPR. We're more consumers of this  
25 information. So I want to give a little context about

1 what's going on at the CPUC, and then a few notes about  
2 this.

3           It's going to be a fairly short presentation.  
4 Apologies to people that cut their presentation short in  
5 the last session, because I think we're going to make up  
6 some time. Oh, sorry, I was looking at the wrong screen.

7           So first of all, there's really two large  
8 projects that are going on. There's some smaller stuff,  
9 some pilot projects, but the two big projects that come  
10 through my shop at the CPUC have been the Angeles Link  
11 project, which I think people know about. It's the  
12 SoCalGas's proposal to build a hydrogen, a pure hydrogen  
13 pipeline network in Southern California to deliver clean  
14 renewable hydrogen from the inland areas where it'd be  
15 produced out to the areas, the industrial areas around the  
16 ports of Los Angeles and Long Beach.

17           We had an application in February of 2022, that's  
18 22-02-007. Decision later that year, 22-12-005, so that  
19 was in December, allowed SoCalGas to record up to \$30  
20 million, around \$30 million in a memorandum account. A  
21 memorandum account means that it's not a bouncing account.  
22 It doesn't mean they're guaranteed recovery. It just said  
23 record the cost, and we will discuss later and make a  
24 decision later on whether you can recover these costs and  
25 rates.

1           It required SoCalGas to conduct 16 feasibility  
2 studies into the feasibility of the pipeline, everything  
3 from environmental impacts, economic demand reports, all of  
4 that, community impacts, and it required extensive  
5 stakeholder engagement.

6           Okay, just this last June, they filed for a cost  
7 recovery for Phase 1, as I said, a memorandum account  
8 didn't guarantee that, requesting around \$24 million. They  
9 didn't spend the full \$30 million for cost recovery. That  
10 proceeding has not even been scoped. I can't really say a  
11 whole lot about that. It's literally just at the beginning  
12 stages. We have an application, and we've had a few  
13 comments and protests come in from parties.

14           And back in December, they filed an application  
15 to start Phase 2 of their study, which is a much kind of  
16 larger study. They're requesting around \$266 million to  
17 move the project from feasibility to more detailed, well-  
18 defined design, including the front-end engineering  
19 studies. Again, that proceeding has not yet been scoped.  
20 We've had initial comments by parties and protests, but  
21 nothing has been scoped. So that's the Angeles Link  
22 project.

23           Next slide.

24           Very quickly, the other big, big thing that's  
25 going on is another application for hydrogen blending

1 demonstration pilots. So some years ago, the utilities  
2 came with a set of applications. Those were rejected.  
3 They were then asked to reapply.

4 In March last year, the four large gas IOUs, I'm  
5 not sure Southwest Gas qualifies as large, it's a large one  
6 but not within the state, but SDG&E, SoCalGas, and PG&E  
7 filed an amended application requesting around \$206 million  
8 to conduct five different pilot programs to test hydrogen  
9 blends up to 20 percent in our pipeline system. Those  
10 pilots are supposed to build on a hydrogen blending impact  
11 study and a hydrogen blending compendium report that were  
12 prepared for the CPUC by UC Riverside, and they would be  
13 used to develop an injection standard.

14 I say all this -- next slide, please -- and I say  
15 all this just as background to how we use the information  
16 that might come out of the IEPR right now or the 1075  
17 Report, because as you'll notice, both of these are  
18 applications, so there's no rulemaking. We're not  
19 initiating these policies. We're receiving requests with  
20 fairly large price tags from the utilities for projects.  
21 And so, you know, part of my role is to evaluate those.

22 I have to say that the CPUC has clear and  
23 unambiguous authority over hydrogen blending and the  
24 natural gas pipeline system. That is without dispute. Its  
25 authority to regulate a pure hydrogen pipeline has not been

1 clearly established either by law or regulatory decision,  
2 so there is some uncertainty there regarding the Angeles  
3 Link project and whether the CPUC would be the regulatory  
4 authority over that project. There's none over the  
5 blending pilots.

6           When we evaluate a project and when we approve a  
7 project, we are supposed to ensure that any requests for  
8 ratepayer funding are just and reasonable; right? And this  
9 is where having data -- or rather having reports like the  
10 1075 Report are really helpful. I'm going to have 16  
11 reports from SoCalGas. And it's extremely useful to have,  
12 you know, really detailed information and reports that are  
13 not coming from an interested party so that, you know, we  
14 can evaluate those.

15           But one of the things that's become really  
16 evident in my work is, and I think this is fairly obvious  
17 to people who work in hydrogen space, is that we really  
18 have to consider the uncertainty surrounding investments.  
19 So if we're thinking about, in my case, ratepayers paying  
20 for a very large pipeline project, right, you want to think  
21 about the uncertainties and the risks.

22           We all know in hydrogen that there's uncertainty  
23 in every sort of step of the value chain, so there's  
24 uncertainty around production and whether the costs will  
25 come down, as we hope they will, and how quickly they would



1 come down and what will be available. We're being asked to  
2 fund this sort of transportation thing. There's  
3 uncertainty around storage, certainly, technical  
4 uncertainty. We haven't completely -- we have no direct  
5 experience of storing outside of salt caverns at this  
6 point, storing hydrogen underground. And, of course,  
7 there's huge uncertainty around the demand side and around  
8 alternative technologies that could be used in use cases  
9 and how quickly demand would pick up in any event.

10           And these uncertainties compound on each other,  
11 of course. We all talk about the chicken and egg problem.  
12 It's quite real when you're thinking about spending money  
13 on something like a pipeline.

14           So the takeaway, since we're not really the main  
15 authors of this report, what I wanted to add to this  
16 meeting was to say we need realistic assessments around  
17 uncertainty, right? Because sometimes it's easy to write  
18 reports that give a roadmap of how we're going to meet  
19 state goals. And I understand that and I understand why  
20 that's done. But I find myself more and more saying we  
21 also need to be realistic and have a realistic assessment  
22 put in there of the different fragilities and potential  
23 failure points in the development of this hydrogen  
24 ecosystem and feed that into a risk analysis.

25           So, you know, policymakers need to be aware of

1 the financial risks involved when they're committing public  
2 resources so that they can prudently balance these against  
3 the urgent need for decarbonization. And so, you know, I  
4 hope that both of these parts, and I've been in  
5 consultation with Jea and her team, really take seriously  
6 and don't kind of gloss over those because I think that  
7 it's important that they're there for us to make really  
8 prudent decisions.

9           So that's all I wanted to say today and  
10 appreciate your time and the chance to speak at this  
11 meeting.

12           MR. SOLANKI: Thank you, Sharsha, for your  
13 presentation.

14           I will now move on to the third topic on the  
15 agenda. Can you hear me? The third topic is the hydrogen  
16 potential for electric generation and transportation as  
17 part of the 2025 IPA. I

18           will start with a brief overview of our agenda  
19 and revisit our 2023 findings and then hand it over to  
20 Sammy Sallam, our Low-Carbon Fuels Lead with the Fuels  
21 Analysis Branch at the CEC.

22           Next slide, please. Okay.

23           And then Sammy Sallam will walk us through the  
24 2025 analysis.

25           Next slide.

1 Today's presentation includes a quick recap of  
2 the SB 1075, the 2023 analysis, and a look at how we  
3 expanded our scope for 2025. Sammy will then discuss the  
4 Demand Scenarios, our updated analytical approach, and key  
5 takeaways.

6 Next slide, please.

7 As Jea mentioned, SB 1075 directs CARB to develop  
8 a comprehensive hydrogen plan across all sectors. It also  
9 tasks the CEC, in consultation with CARB and the CPUC, to  
10 study the potential for green hydrogen growth in both the  
11 power and the transportation sectors.

12 Next slide, please.

13 There's no real specific policy drivers giving us  
14 a structured approach for hydrogen demand. So in 2023, we  
15 looked at the bookends for potential to understand higher  
16 hydrogen and lower hydrogen generation and what that might  
17 entail to achieve those.

18 In 2023, we framed power generation using two  
19 bookends. We chose the CARB's 2022 Scoping Plan and  
20 modified it to assume full replacement of natural gas  
21 generation with hydrogen, about 1.8 million tons a year.  
22 At the lower bookend, we analyzed the results of the CEC-  
23 funded UC Irvine study that treated hydrogen like a long-  
24 duration energy storage technology, i.e., hydrogen would be  
25 used to replace half of the new long-duration energy

1 storage and half the grid power from geothermal resources,  
2 as forecast by CPUC's 2018 Resolve Resources Planning  
3 Model.

4 For transportation, we built on the 2022 Scoping  
5 Plan to come up with the IEPR truck choice model, adjusting  
6 hydrogen prices and fuel cell vehicle costs for the upper  
7 bookend. For the lower bookend, the CEC staff used the  
8 AATE 3, Additional Achievable Energy Efficiency 3, and  
9 those numbers are 971,000 metric tons a year, and the upper  
10 end was 300,000 metric tons.

11 So in 2023, we focused on the PEM electrolysis,  
12 that's proton exchange membrane.

13 Now, let's switch our mind to 2025. For 2025, we  
14 used the same framework for power generation we used in  
15 2023, but we changed up the transportation as follows. For  
16 transportation in 2025, the upper bookend uses CEC's SB 100  
17 hydrogen high-use scenario, consistent with CARB's estimate  
18 of 1.4 million tons a year. The lower bookend uses SB 100  
19 Policy Scenario at 810,000 tons a year. For 2025, we  
20 expanded that scope to evaluate additional production  
21 technologies.

22 Next slide, please.

23 I will run through this quickly.

24 In 2023, the high-bookend scenarios, particularly  
25 from CARB's Scoping Plan, reflect significantly greater

1 hydrogen demand compared to more modest estimates from the  
2 UCI study. These comparisons here highlight the scale of  
3 infrastructure needed and the importance of diversifying  
4 hydrogen production technologies as explored in 2025.

5 For electric generation, in 2023, we saw capital  
6 costs ranging from \$16 billion to \$3 billion in the low  
7 case. For renewable energy generation, it ranged from 36  
8 gigawatts in the high to 6 gigawatts in the low. And the  
9 land use ranged from 250,000 acres in the high case to  
10 47,000 acres in the low case. For transportation, we saw  
11 costs ranging from \$8 billion in the high case to \$3  
12 billion in the low case. Renewable energy generation  
13 capacity ranged from 18 gigawatts to 6 gigawatts in the low  
14 case, and land use ranged from 130,000 acres to 40,000 in  
15 the low case.

16 These scenarios highlight the scale of  
17 electrolyzers deployment, renewable build-out, and land  
18 requirement for solar generation. They also underscore why  
19 we broadened our analysis in 2025 to account for a more  
20 diverse set of production options.

21 Next slide, please.

22 So in 2025, we expanded our analysis to include  
23 nine hydrogen production pathways. We used both the PEM  
24 and the alkaline technology, streamlining reformation with  
25 and without carbon capture, using both fossil and renewable

1 natural gas. For biomass gasification, we used crop  
2 residue, forest residue, and urban waste. For pyrolysis,  
3 we considered both natural gas and renewable natural gas.

4 So what's new this year is a more holistic  
5 assessment. We explored how hydrogen production interacts  
6 with grid operations on an hourly basis, incorporating  
7 production, storage, and balancing dynamics.

8 Next slide, please.

9 Sammy will now walk us through the 2025 analysis.

10 MR. SALLAM: Thank you, Max.

11 Good afternoon. I'm Sammy Sallem. I've been  
12 with the CEC a little over two months at the Energy  
13 Assessment Division, and I look forward to covering with  
14 you the 2025 analysis for hydrogen potential.

15 This is a summary of high and low cases of  
16 hydrogen demand used for the 2025 IEPR for both the  
17 electrical and the transportation sector. Now, Max has  
18 already covered this in detail. I note that for the power  
19 sector high case, the demand was based on the plan level of  
20 fossil gas replaced with hydrogen, which is about 1.6  
21 million tons of hydrogen per year in 2045. In the low  
22 bookend, as you can see there, the hydrogen would be used  
23 to replace much of new, long-duration energy storage and  
24 much of the grid power from geothermal resources, which  
25 involves a total of 350,000 tons of hydrogen per year.

1 In reference to the transportation sector, I will  
2 let my colleague, Quentin Gee, talk about this in more  
3 detail shortly after this presentation.

4 Next slide, please.

5 For the 2025 analysis, more pathways were  
6 included to meet hydrogen demand, starting with Demand  
7 Scenarios. Then we asked the question, basically, what are  
8 the various inputs to use to generate clean hydrogen?

9 So we looked at renewable energy and biogenic  
10 resources as inputs. We then examined various methods to  
11 produce hydrogen, and that includes electrolysis, steam  
12 methane reforming of natural gas and carbon capture, steam  
13 reforming of renewable natural gas, gasification of  
14 biomass, and pyrolysis for both natural gas and renewable  
15 natural gas. Then we evaluated hydrogen storage, which  
16 includes aboveground and underground or subsurface  
17 reservoirs, if you will, also delivery methods such as  
18 pipelines and by trucks. Now, the final step on the right-  
19 hand side there is the hydrogen conversion to the electric  
20 grid for end use.

21 Next slide, please. Next slide, please. I'm  
22 sorry, that's correct. That's correct. If you go back one  
23 slide? My mistake. Thank you.

24 So this is a simplified diagram of the IVCA.  
25 Basically, we start with hourly electricity from the SB 100

1 electricity generation profiles for both the power plants  
2 and long-duration energy storage. Then evaluate the  
3 balance of hydrogen production demand and storage needed in  
4 order to meet those demand profiles.

5 Note that much of the discussion in previous  
6 studies revolved around production and demand. However, we  
7 must now start thinking about the middle, which is the  
8 storage and delivery.

9 Finally, we need to quantify the amount of inputs  
10 to production processes, process from different  
11 technologies, that includes electrolysis and thermochemical  
12 processes, and quantify cost and equipment needed to  
13 produce and store hydrogen. We've also considered input  
14 resources requirements such as renewable power, biomass  
15 volumes, amounts of water needed, and land requirements,  
16 which can be extensive.

17 Next slide, please.

18 This is a more deft illustration summarizing the  
19 different variables and model parameters in the integrated  
20 value chain analysis, which includes variations in hydrogen  
21 demand, amount of storage available, and amount of hydrogen  
22 that needs to be produced from the four technologies and  
23 applicable resources shown on the right-hand side there.

24 So the key question to answer, basically, here is  
25 how much clean hydrogen production, delivery, and storage



1 capacity is needed, what is needed, basically, to meet that  
2 demand for each end-use scenario?

3           So the upper-left graph shows an example of  
4 hydrogen demand to produce electricity in a gas-fired plant  
5 over the course of a year. This is similar to  
6 transportation, but transportation demand varies much less  
7 on a day-to-day basis. So in summary, the model solves the  
8 mass balance of the system by exploring the space of  
9 different combinations of production and storage capacity.

10           The analysis showed here that the large seasonal  
11 variations in hydrogen use driven by electricity production  
12 needs will require strategic hydrogen storage facilities  
13 that are large and centralized. The diagram shows an  
14 underground storage there in the middle of your screen, a  
15 facility or a reservoir, if you will. However, we did  
16 evaluate tank storage above ground as well. Hydrogen  
17 volumes, storage costs, and safety issues can be critical  
18 factors in choosing the appropriate storage method.

19           Next slide, please.

20           This slide shows the comparison of three  
21 portfolios of hydrogen production pathways for this  
22 analysis. It can be seen from the table there on your  
23 right that four main hydrogen technology pathways have been  
24 defined, electrolysis, reforming, and gasification, and  
25 finally pyrolysis. Each of these requires energy and

1 material feedstocks to convert to hydrogen.

2           So for the electrolysis-heavy portfolio,  
3 electrolysis makes up the large majority of this mix at  
4 over two-thirds of the production capacity. Natural gas  
5 pathways are de-emphasized. And biomass resources are used  
6 at one-third of their statewide potential.

7           For the next one over, which is the biogenic  
8 portfolio case, biogenic feedstocks are deployed at 100  
9 percent of their estimated statewide potential. Pathways  
10 involving natural gas develop moderately, but not to the  
11 level of what we call balanced, in this case balanced  
12 portfolio. Electrolysis assumes the rest of the hydrogen  
13 supply, which still makes it the largest source in  
14 comparison to the other technologies.

15           Now moving over to the balanced portfolio case,  
16 it's based on premise, on the premise, basically, that all  
17 major pathways, fuels, and feedstock will contribute to the  
18 hydrogen production profile.

19           The use of natural gas to produce hydrogen grows  
20 steadily for two reasons. One, the lack of temporal  
21 variability in the amount of hydrogen that can be produced  
22 is found to be important, and two, it assumes that the  
23 carbon intensity of the supply chain will be well managed,  
24 including upstream natural gas release, carbon capture for  
25 SMRs, and significant use of natural gas pyrolysis.

1 Biomass resource usage is 50 percent of its full potential,  
2 and virtually all of the available RNG is used for hydrogen  
3 production. Electrolysis makes up the remaining production  
4 and becomes the, basically, the largest source of hydrogen  
5 among the four pathways.

6 Next slide, please.

7 So this slide shows the production capacity  
8 requirements to produce clean hydrogen for the combined  
9 high electric and transportation bookends. There are  
10 four -- three different pathways, basically, that you see  
11 there on the slide, portfolios and technologies. The graph  
12 on the left represents hydrogen production capacity  
13 required for the full storage case. Now if you look at the  
14 right graph, that represents the hydrogen capacity required  
15 if there was no storage. The y-axis scale is in millions  
16 of tons of hydrogen per year.

17 So the key takeaway here is that with demand  
18 profiles as seasonably variable as future gas-fired power  
19 plants not having storage, that will lead to a requirement  
20 to massively overbuild production plants, hereby almost a  
21 factor of 4.5.

22 Next slide, please.

23 So this slide illustrates the electrical energy  
24 supply required by feedstock and portfolio, for this case  
25 of combined high bookends. Both graphs are in gigawatts

1 hours per year. The graph on the left is the electric  
2 energy requirements to produce hydrogen by electrolysis,  
3 and the one on the right is the electrical energy  
4 requirements to produce hydrogen for the production  
5 pathways that use RNG, biomass, and fossil gas feedstocks.  
6 Of the other production modes, fossil gas, SMR, uses the  
7 most electricity just because of the use of carbon capture.

8           So a key takeaway from this slide is we expected  
9 electrolyzers would use the most electricity, but please  
10 keep in mind that significant renewable energy would also  
11 be required to generate the electricity.

12           Next slide, please.

13           The graph shows the water requirements to produce  
14 hydrogen for the three different portfolios and from the  
15 four different technologies. If there's a key takeaway  
16 here, it would be basically, you know, again, as expected,  
17 the electrolyzers would have high water volume requirements  
18 compared to the other production modes. Note that the  
19 fossil gas, SMR, also requires significant amount of water.  
20 The main reason is that fossil gas reforming with carbon  
21 capture storage uses large amounts of water, primarily  
22 carbon capture cooling water, but also in the steam  
23 reforming process.

24           Next slide, please.

25           So these graphs illustrate the feedstock

1 requirements to produce hydrogen from biomass in tons per  
2 year on the left and also from gas, mainly RNG and fossil  
3 gas, and that's the one shown on the right-hand side, and  
4 that's measured in million BTUs per year. Biogenic  
5 feedstock availability may be a limiting factor, so we must  
6 have processes to efficiently collect, stockpile, and  
7 process them to meet the demand of hydrogen production.  
8 RNG is also produced in a very distributed manner, so we  
9 assume that the plants that process it into hydrogen are  
10 fairly small, something in the order of 15 tons of hydrogen  
11 per day.

12           So the key takeaway from this is the biogenic  
13 profile -- portfolio, rather, maxes out the estimated  
14 biomass and RNG, yet there's still a good amount of fossil  
15 gas use. This is because the overall demand is very high,  
16 and so fossil fuel in this case is needed to fill out the  
17 supply. So in other words, if electrolysis alone were used  
18 to fill the gap, it would compromise -- comprise, actually,  
19 66 percent of supply. So this is quite substantial.

20           Next slide, please.

21           So the two tables on the right-hand side  
22 demonstrate the CapEx in order to meet hydrogen production  
23 capacity requirements for 2045 for full storage, which is  
24 shown in the upper table, versus no storage, shown in the  
25 lower table, and that is for the nine different pathways

1 and four feedstock types, mainly water, RNG, biomass, and  
2 fossil gas. Note that these CapEx figures do not include  
3 transportation or storage costs.

4 So the key takeaway from this is the cost  
5 differential between storage and no storage is quite  
6 significant, more than 300 percent or so. Therefore,  
7 similar to production capacity, the associated CapEx  
8 significantly increases as storage is reduced. In the best  
9 case, CapEx is estimated at \$45 billion to \$65 billion, and  
10 it is the lowest for the biogenic portfolio. So if it is  
11 possible to build larger plants for biomass and RNG, the  
12 CapEx figures would actually be better because of the  
13 economy of scale.

14 Next slide, please.

15 Similarly, the number of production plants would  
16 also increase in the no storage case by almost a factor of  
17 four, or actually four plus, 4.3, 4.4, shown in the lower  
18 table in the slides there, in the slide, compared to the  
19 case where storage is considered. In other words, the  
20 CapEx is much lower when you have full storage.

21 Because there are no commercial hydrogen storage  
22 facilities, in reference to California at least, that use  
23 depleted oil and gas reservoirs, we did not estimate the  
24 geological storage CapEx cost. The cost of tank storage is  
25 in the order of \$1,200 per kilogram of hydrogen. We are

1 planning to gather estimates from different studies for  
2 geological storage. We have some sources on that already,  
3 but we have not processed them currently at this point.

4 So the key takeaway here is that because a good  
5 portion of the plants that are not fossil, SMR plus carbon  
6 capture, are small, about in the order, say, of 15 tons per  
7 day, then the total number of production plants would be  
8 large, around 400 or so, even with full storage.

9 Next slide, please.

10 So what are the key takeaways?

11 In the electric generation case, if hydrogen is  
12 heavily used to replace existing gas-fired generation,  
13 there will be large variations in seasonal demand for  
14 hydrogen. For the transportation sector, end uses do not  
15 really fluctuate that much in demand, but seasonal  
16 variations do occur.

17 For the seasonal changes, rather, in hydrogen  
18 use, driven by electricity production, needs will require  
19 strategic hydrogen storage facilities. And these are large  
20 and centralized, like, for example, geological or  
21 subsurface reservoirs, but the alternative is scaling up  
22 the hydrogen production capacity in order to meet the  
23 demand in just-in-time approach. However, we need to keep  
24 in mind that the extra hydrogen production capacity would  
25 likely be underutilized for significant portions of the

1 year.

2           On-site hydrogen production is limited to  
3 applications where demand is low, and just to give you for  
4 scale in terms of renewable energy and area needed, seven  
5 acres of solar PV yields only about 140 kilograms of  
6 hydrogen per day, so that's not a lot, basically. So  
7 biogenic feedstock may be limited in terms of availability,  
8 and there must be processes to efficiently collect,  
9 stockpile, and process different feedstocks to meet the  
10 hydrogen demand.

11           Fossil gas reforming with CCS can use  
12 significantly more water than electrolysis, since the  
13 process requires large volumes, rather, for cooling and for  
14 steam.

15           Finally, hydrogen delivery can be met with trucks  
16 to a certain extent for end uses of five tons or less per  
17 day, but pipelines would be needed to meet that extensive  
18 hydrogen demand.

19           Thank you. And now I would like to turn it over  
20 to my colleague, Quentin Gee, who will be talking about  
21 hydrogen in the transportation sector.

22           MR. SOLANKI: Thank you, Sammy. I appreciate  
23 your presentation.

24           The fourth speaker on the panel is Quentin Gee, a  
25 Branch Manager for the Advanced Electrification Analysis at



1 the EAD within the CEC, who will discuss hydrogen Demand  
2 Scenarios.

3           Quentin, are you online?

4           MR. GEE: Great. Thank you, Max.

5           Hi, everybody. Good afternoon, Commissioners.  
6 My name is Quentin Gee. Like Max said, I'm the manager of  
7 Advanced Electrification Analysis in the Energy Assessments  
8 Division. We work on advanced electrification  
9 technologies, but also transportation broadly, all of  
10 transportation, and we also do Demand Scenarios for broader  
11 analysis of economy-wide decarbonization, again, with a  
12 focus on demand.

13           So let's move on to the next slide.

14           So no need to get bewildered by this. This is  
15 just kind of there for people in case there's reference.  
16 These are posted online. There are a lot of acronyms and  
17 initialisms that are in the presentation. As I speak them  
18 out for folks in the room here, of course, I will do what I  
19 can to try to speak them out rather than go acronymical  
20 [sic] or whatever on it, but then for the folks online, you  
21 can download the slides here and refer to this if you get a  
22 little confused.

23           Next slide.

24           Okay, so hydrogen demand for transportation in SB  
25 1075. So Sammy just discussed the sort of supply side and

1 production side of hydrogen to meet the demand, but folks  
2 might have some additional questions about the demand  
3 itself and where is it coming from.

4           And when it came to the transportation component  
5 on this, we looked at sort of the CEC's Demand Scenarios  
6 Project. So as mentioned in the bill, SB 1075 requires us  
7 to model potential growth for hydrogen in the  
8 transportation sector, and the power sector as well, but  
9 for transportation Demand Scenarios, when we came to this  
10 this time around in 2023, we kind of developed a one-off  
11 scenario to sort of augment the traditional Integrated  
12 Energy Policy Report forecast, but for Senate Bill 100,  
13 because we had already done this work before, we thought  
14 that this would be a logical choice for us to go forward  
15 with.

16           We decided to give it two sensitivities here.  
17 The first one is the standard Demand Scenarios Policy  
18 Scenario, which is used in SB 1, Senate Bill 100, and then  
19 also we had another bill, excuse me, another scenario,  
20 Policy Scenario with a high hydrogen use or hydrogen  
21 augmentation.

22           So one thing again to just kind of clarify here,  
23 we're talking primarily just about the demand part of  
24 Senate Bill 100 reporting. The Senate Bill 100 Report does  
25 evaluate hydrogen supply and the electric system needs

1 associated with that production. We did work on that as  
2 well. But when it came to this Senate Bill 1075 work that  
3 we're talking about today, we are just focused only on the  
4 demand component here.

5 Next slide.

6 Okay, so let me talk a little bit about the  
7 Demand Scenarios Project framework for transportation. So  
8 we normally have an -- the Integrated Energy Policy Report  
9 has an energy demand forecast, and what the IEPR -- or the  
10 IEPR, what we call the IEPR. The IEPR does capture a lot  
11 of existing policies. It doesn't always capture every  
12 single policy, but they're mostly captured there. The  
13 Demand Scenarios kind of takes that as a starting point and  
14 then sort of extends out the forecast out to 2050, but also  
15 takes a look at near-term policies that have been adopted  
16 or are expected to be adopted in the near term.

17 And then, also, we take a look at goals with  
18 clear technological pathways informed by market analysis.  
19 We take a look at technology readiness levels, deployment,  
20 other sorts of things like that, looking at actually some  
21 of the stuff that's out there in the market that's, we saw  
22 discussed earlier today.

23 But combining all of these, we were able to  
24 develop a series of different Demand Scenarios, and the  
25 ones we're talking about Policy Scenario, and then Policy

1 Scenario with high hydrogen use.

2 Next slide.

3 Okay, so here's the breakdown of how we did the  
4 Transportation Scenario. So a lot of this starts with the  
5 2023 Integrated Energy Policy Report for Senate Bill 100,  
6 as the Demand Scenarios were developed last year.

7 What we did for the -- so focusing on the sort of  
8 the Policy Scenario column, for light duty vehicles and  
9 transportation, we use the Advanced Clean Cars II  
10 regulation as modeled in the 2023 IEPR. We extended that  
11 out to 2050. There's a standard framework that we use for  
12 incorporating Advanced Clean Cars II, known as AATE, but we  
13 needn't get into that, but it's a standard framework that  
14 folks can look at in the IEPR forecast process.

15 In aviation, we took a look at a scenario where  
16 we evaluated zero-emission fuel substitution of jet fuel  
17 for in-state aviation starting in 2030, so nothing up until  
18 2030. Right in 2030, we begin to a sort of a linear  
19 diffusion of fuel substitution of hydrogen and electricity,  
20 but the focus here being on hydrogen, 10 percent hydrogen  
21 by 2045 for in-state flights. And then the IEPR also  
22 focuses on out-of-state aviation as well. And we did five  
23 percent for out-of-state aviation under the assumption that  
24 traditionally hydrogen, at least as we were thinking it  
25 through in this case, would be for fuel cells. And so

1 there would be a limited amount that a limited distance  
2 that you'd be able to get with hydrogen fuel cell powered  
3 aircraft.

4           The in-use locomotive regulations, sort of  
5 looking at freight rail and passenger rail, we did zero-  
6 emission fuel substitution starting in 2027 and had a  
7 diffusion sort of to 2020 -- to 100 percent by 2050. This  
8 is part of CARB's in-use locomotive regulation that had  
9 been adopted around that time.

10           We, for freight trucks, we used the Advanced  
11 Clean Fleets rule that had been adopted at that time, and  
12 also the anticipated at that time, zero-emission truck  
13 measure. I don't think it was formally named to this by  
14 the California Air Resources Board, but there was  
15 discussion of what they were saying, kind of like a zero-  
16 emission truck measure to try to get the rest of the trucks  
17 that weren't fully covered under the Advanced Clean Fleets  
18 regulation. Folks may be familiar with the Advanced Clean  
19 Trucks regulation. That is already baked into that as  
20 well, but not mentioned here.

21           For off-road, we had enhanced electrification.  
22 We did not have any hydrogen penetration in the off-road  
23 transportation component. That is something we might look  
24 into in future Demand Scenarios work.

25           And then finally, ocean-going vessels, or OGVs,

1 we had 5 percent energy demand replaced by hydrogen by  
2 2045.

3           So that's the Policy Scenario. The Policy  
4 Scenario with high hydrogen use, basically we didn't really  
5 see a strong case for additional hydrogen demand here in  
6 some areas, so for light-duty vehicles, aviation, and in-  
7 use locomotive regulation. Light-duty vehicles, we were  
8 not really seeing hydrogen fuel as a -- hydrogen-fueled  
9 cars as an option that is really set to grow in any  
10 significant way. We were not really sure how much further  
11 to push in aviation based off of the technology readiness  
12 level assessment that we conducted. And then for the in-  
13 use locomotive regulation, it was already pretty heavy with  
14 hydrogen, so we kept that as in the Policy Scenario.

15           One of the major areas where we did focus on,  
16 though, for additional hydrogen demand was we took that ACF  
17 and ZE truck measure, and then we actually did, conducted,  
18 a fuel-switching exercise where instead of a lot of battery  
19 electric trucks, we had a lot of fuel-cell electric trucks,  
20 so -- or battery electric vehicles, we substituted the  
21 energy with fuel-cell electric trucks energy.

22           Off road we kept the same as the Policy Scenario.

23           And then for ocean-going vessels, we actually  
24 were thinking there have been some interesting developments  
25 outside of California in the ocean-going vehicle space, and

1 we were thinking maybe it would be worthwhile to pump up  
2 the energy a little bit more on that with hydrogen as a  
3 potential either direct fuel or a pathway for fuels for  
4 ocean-going vehicles, so we had 25 percent linearly adopted  
5 by 2045.

6 Next slide.

7 Okay, so here are the results. On the left, you  
8 can see transportation electricity demand. That's not  
9 really the focus here, but you can see that the Policy  
10 Scenario compared to the High Hydrogen Use Scenario in  
11 different reference years of 2035, 2045 and -- 2040, and  
12 2045, those, you can see electricity goes down a bit  
13 because we had some electric trucks pulled out of the  
14 population. And then on the right, you can see the  
15 transportation hydrogen demand in the Senate Bill 100  
16 Demand Scenarios. You can see that there's quite a bit  
17 more hydrogen demand in each of them growing to about a  
18 little more than 1400 million kilograms in 2045, or 1.4  
19 billion kilograms in 2045.

20 Now that's quite a bit of hydrogen for the  
21 transportation sector. This aligns fairly well with the  
22 California Air Resources Board's Scoping Plan when it comes  
23 to transportation. There were other components outside of  
24 transportation that we were not able to get alignment with  
25 in this Demand Scenario, but since we're talking about

1 transportation, I would say overall this is a pretty close  
2 alignment with what we've seen from CARB in terms of the  
3 millions of kilograms demanded.

4           There are some sensitivities around, you may have  
5 seen the earlier carb presentation, they were talking about  
6 exajoules, lots of different energy units, but the  
7 conversion, depending on how you do it, we think is closely  
8 aligned in the assumptions that you bring to the table with  
9 the conversion approach there.

10           Next slide.

11           Okay, so hydrogen results and recommendations.  
12 So as we saw, hydrogen demand increases by about 72 percent  
13 more than the hydrogen demand, primarily from freight  
14 trucks, as we saw a little bit from those ocean-going  
15 vessels. And the low Policy Scenario, this had some  
16 additional expected policies and a little bit more hydrogen  
17 than we would typically expect from the standard IEPR  
18 approach, but still a good amount of hydrogen demanded in  
19 that scenario as well.

20           Next slide.

21           Okay, so integrating this into SB 1075, basically  
22 we took the annual hydrogen demand derived from here. SB  
23 1075 also analyzes and evaluates the daily hydrogen demand  
24 aligned with the battery electric vehicle electricity  
25 demand for freight trucks in the Demand Scenarios Project.



1 So one of the things that we were working on when trying to  
2 evaluate it, it wasn't just the annual hydrogen demand, but  
3 the sort of the way in which electricity and electrolyzer  
4 sizes, as we saw with Sammy's presentation and some of the  
5 other folks before, how do you size those and get them done  
6 in the right way so that you can meet the daily demand?

7           So what we did is we said, okay, well, we have  
8 freight trucks with sort of the seasonal variation; right?  
9 A little bit less driving, I think in the winter, a little  
10 bit more driving in the fall. So what we did is we kind of  
11 were able to do that seasonal variation thinking, okay,  
12 well, hydrogen in the freight sector would look a lot like  
13 battery electric trucks in the freight sector as well. So  
14 that does play into some of the daily demand and the  
15 evaluation that you can see with the supply numbers that  
16 Sammy presented.

17           Next slide.

18           That's it for me in terms of the hydrogen demand.  
19 Thank you. I can take any questions from Commissioners or  
20 the audience.

21           MR. SOLANKI: Thank you, Quentin. And thank you  
22 for the presenters on this panel, Jea, Sasha, and Quentin,  
23 and Sammy.

24           I will now pass it on to the dais for their  
25 remarks and questions.

1           VICE CHAIR GUNDA: Yeah. Thank you. Just thanks  
2 to Jea, Sasha, Sammy, Quentin. Thank you, Max.

3           Could we start off with the Q&A that came  
4 through? I just want to -- you know, I know we're running  
5 out of time. We'll stop there.

6           MS. NAKAGAWA: Yeah. Let's have Amanda come on  
7 in. If you want to read through, Amanda, the Q&A from the  
8 Zoom, that would be great. Looks like there's a couple for  
9 Quentin.

10          MS. WONG: Hi, everyone. My name is Amanda Wong.  
11 I'm an Electric Generation Systems Specialist in the Fuels  
12 Analysis Branch, and I will be moderating today's Q&A for  
13 this section. So we have a couple of questions in the  
14 docket now.

15          The first question is from David E. This is to  
16 Quentin. "Can you please elaborate on the ACC2 framework  
17 that is adopted by IEPR? I believe you said AEET."

18          MR. GEE: Great, great question in need of  
19 clarification. Sorry. I didn't talk about it a whole lot  
20 in the presentation, but the standard Integrated Energy  
21 Policy Report forecast does integrate CARB's Advanced Clean  
22 Cars II regulation. It does it in a framework called  
23 additional achievable transportation electrification, or  
24 AATE. What we do is we take the -- so the forecast results  
25 sort of show different -- all vehicles, all light-duty

1 vehicles that are adopted. So we have commercial vehicles,  
2 personally-owned vehicles, rental cars, government cars.  
3 They all have their kind of pathways of adoption. People  
4 like certain body types, so they like, you know, like SUVs,  
5 kind of a growing segment. They tend to also like a lot  
6 more pickups, even if they're not necessarily using them  
7 for traditional purposes.

8           And so we kind of take all of those preferences  
9 and build them into an econometric model and are able to  
10 kind of get those as sort of new vehicle purchases. And  
11 then they, kind of, they go into the population and then  
12 they get older and older and they start to leave the  
13 population. So each forecast year is this complicated  
14 dynamic of that with a baseline forecast.

15           From what we do with there with the framework is  
16 we adjust the fuel types of the new vehicles that are sold  
17 to align with the zero emission vehicle requirements that  
18 CARB has established under Advanced Clean Cars II. It's a  
19 little bit complicated, but we like the fact that it's able  
20 to maintain a lot of this sort of the rigor and kind of  
21 consumer preferences of those body types and acceleration  
22 and trunk space and all the other variables that we have in  
23 the model. It keeps a lot of the preferences there, but is  
24 able to switch the fuel types to align with zero emission  
25 requirements.

1           Yeah, and it's called Additional Achievable  
2 Transportation Electrification, AATE. The one scenario  
3 that we tend to use is AATE 3. But I can -- feel free to  
4 reach out to me. I can email and give you more information  
5 in the forecast.

6           MS. WONG: Thank you for that, Quentin.

7           We have another question for you from Rod.

8           “So Quentin, could you speak to the California policy  
9 and hydrogen versus SAF, sustainable aviation fuel,  
10 locomotives and OGVs versus fuel cells?”

11           MR. GEE: Yeah, that's an interesting question.  
12 That's a little bit outside of the way the Demand Scenarios  
13 approach work, but we did look at a lot of the technology  
14 readiness levels in this area. So hydrogen, so thinking  
15 like in aviation versus SAFETY, or sustainable aviation  
16 fuel, arguably one might say that hydrogen is a sustainable  
17 aviation fuel to the extent that it can be zero carbon.  
18 You know, it could arguably be a sustainable aviation fuel.  
19 A lot of them, a sustainable aviation fuel is typically  
20 regarded as what we call a drop-in fuel. So it's kind of  
21 like more or less chemically almost the exact same thing or  
22 very similar to kerosene that's used in jet engines. So  
23 there's some distinctions there. Hydrogen could  
24 theoretically be a pathway there, but oftentimes hydrogen  
25 is more often used in the production of like methanol and

1 ammonia.

2           So in aviation, it could be a little bit tricky.  
3 There's a lot of interesting pathways on sustainable  
4 aviation fuel. I'm not quite sure about the direct  
5 hydrogen connection there, but a lot of interesting work in  
6 that space. But we did not include any sustainable  
7 aviation fuel demand outside of sort of just assuming  
8 hydrogen and electricity, which in theory are, but they're  
9 not traditionally thought of as SAF.

10           And locomotives, so any kind of drop-in fuel, we  
11 didn't assume any kind of work like that. Theoretically, a  
12 lot of locomotives operate on diesel. They could operate  
13 on biologically-sourced diesel, renewable diesel, biodiesel  
14 blended, so there are some potentials there. We didn't  
15 really look at that potential. We just worked primarily  
16 from the Air Resources Board's assumptions on hydrogen  
17 being a preferred fuel there. It is zero-emission, so  
18 whereas even renewable diesel has a lot of nitrous oxides  
19 and other pollutants.

20           And then ocean-going vessels versus fuel cells,  
21 that's a big area that's ripe for discussion when it comes  
22 to fuel cells in ocean-going vehicles. It's kind of  
23 tricky. There's some projects out there. We've been  
24 tracking a few of them that are either in production or  
25 will soon or have been recently deployed where they're

1 actually using hydrogen in a fuel cell and, you know,  
2 running a big huge ship turbine to propel the ship forward.

3           You could also use methanol or ammonia, which  
4 hydrogen is oftentimes a pathway step in the process  
5 development of that. Those can be used in a much more  
6 traditional combustion form. One might argue that air  
7 quality benefits are not as problematic when you're sort of  
8 on the ocean or whatnot. At the ports, you know, that's a  
9 different question.

10           So, yeah, a lot of interesting issues on that  
11 front. Happy to discuss more with folks who want to email  
12 me and reach out.

13           VICE CHAIR GUNDA: Amanda, before you jump in --

14           MS. WONG: Yes.

15           VICE CHAIR GUNDA: -- Quentin, I think just on  
16 the SAF, I think we are looking to work with the CARB, you  
17 know, some of the analysis that's being sponsored there to  
18 the consultants for the petroleum work. That could also be  
19 insightful for us as we move forward.

20           MR. GEE: Oh, yeah. Yeah, definitely. Yeah.

21           MS. WONG: All right, you have one more right now  
22 from William M.

23           "Can you please elaborate on the ACF framework that is  
24 adopted by IEPR and how that will impact hydrogen  
25 growth for H2ICE, hydrogen internal combustion engine,

1           and H2ICE vehicle adoption?"

2           Sorry if I butchered that.

3           MR. GEE: Yeah, so I think a hydrogen fuel cell  
4 electric trucks versus hydrogen internal combustion engine  
5 electric -- not electric, internal combustion engine  
6 trucks, I don't think that there's much of an interest by  
7 the state with hydrogen combustion trucks. Theoretically,  
8 hydrogen could be combusted. I mean, we talked about  
9 hydrogen being combusted for power generation. You could  
10 also do that. There are piston driven engines and other.  
11 There's also turbine type engines that can do a lot of work  
12 there.

13           But I don't think that there's much of an --  
14 Advanced Clean Trucks -- or excuse me, Advanced Clean  
15 Fleets and Advanced Clean Trucks framework both would rule  
16 out hydrogen combustion on a truck and in favor of hydrogen  
17 fuel cell electric vehicles.

18           I would note that the Air Resources Board has  
19 rescinded its waiver request from the federal EPA for  
20 Advanced Clean Fleets. So there's a little bit of  
21 uncertainty about that. But given the 2023 IEPR, we were  
22 working under the Advanced Clean Fleets framework.

23           VICE CHAIR GUNDA: Thank you.

24           I think we have one question in the room, so  
25 let's just take that question. Yes, please, anywhere.

1 MR. MCRAE: Thanks. I prepared a question and I  
2 also will make a comment. My name is Tim McRae. I'm the  
3 Vice President for Public Affairs for the California  
4 Hydrogen Business Council.

5 And just on the H2ICE issue, it is the case that  
6 there are H2ICE vehicles elsewhere in the world. There are  
7 just not any here, basically for lack of policy drivers in  
8 the U.S.

9 I'd like to thank the Vice Chair and the  
10 Commissioner for being through -- going through this for  
11 the whole day and for your in-depth dive into the clean  
12 firm resources and this forum's focus today, this  
13 afternoon, on hydrogen.

14 My question is for Sasha Cole of the CPUC. Sasha  
15 expressed deep skepticism around uncertainties he sees  
16 around hydrogen and said the SB 1075 Report would be more  
17 credible in his mind compared to reports generated by  
18 utilities. My question for Sasha is: What are the  
19 uncertainties that he would need for the SB 75 report to  
20 address to feel more comfortable with hydrogen in his mind?

21 MR. COLE: Yeah, hi, thank you. That's a great  
22 question. You know, it's funny, I don't have a list in  
23 front of me, but when we're looking at it, it's not so much  
24 the uncertainties, but it's really the address the ways  
25 that the ecosystem could fail to fully develop.



1           So for instance, I think that there's questions  
2 about the underground storage is a big one. I think  
3 there's questions around whether the price of hydrogen  
4 produced will come down as fast as said and what that will  
5 mean on the demand side. And I think that there's  
6 uncertainties around, for instance, transportation  
7 alternatives and alternative technologies more generally,  
8 so if you think about large vehicle electrification versus  
9 hydrogen fuel cells.

10           All of these create these kinds of uncertainties  
11 where I could see a scenario, when I'm thinking about it,  
12 where people are reluctant to make the large investments in  
13 the technologies are going to need in order to drive  
14 demand, because there's uncertainties around the other  
15 factors. So these are the -- I'm not saying for sure that  
16 you know, I know how it -- it's uncertainties. I don't  
17 know how this is going to play out. It's a dynamic system  
18 and it's really at the beginning of its development.

19           And so what I really want is just an awareness on  
20 the part of policymakers. And so I want the reports to  
21 kind of point out. Because my impression when I read these  
22 reports often, is that they are roadmaps. And I feel like  
23 we make better policy when we're really kind of acutely  
24 aware that the projections that we're making may be wrong,  
25 and that they may be wrong in ways that compound upon each

1 other.

2           So, you know, I'm not trying to suggest an  
3 alternative analysis where none of this happens. I'm  
4 suggesting a kind of more cautious optimism, I suppose.  
5 And so, you know, this is the thing, is for the reports to,  
6 when these uncertainties exist, to make sure that they  
7 don't get buried under a certain kind of rhetoric that's  
8 very typical in kind of consulting reports, where you, for  
9 instance, have a high, medium and low case, right, and  
10 they're often bracketed in ways. And to understand that,  
11 you know, right now, we're seeing a lot of projects that  
12 are being canceled on the production side, I'm aware of  
13 that. I'm not fully immersed in the commercial side of  
14 things.

15           And so, you know, I want to make sure that our  
16 analysis picks up and it's not creating illusions. I want  
17 to make sure that we're cautiously optimistic, but that  
18 we're very clear, and that we're flagging these  
19 possibilities where the system won't develop. It's  
20 happened before many times. But I don't want to be in a  
21 situation where we look back, and we said something is  
22 going to happen, and we spend a lot of money, and then, you  
23 know, it didn't.

24           So I just want to kind of flag myself as not  
25 doubting the analysis, but wanting to make sure that the

1 analysis is very clear about these things. Did that make  
2 sense?

3 MR. MCRAE: That was helpful. It's always  
4 helpful to see more into your thinking when you make these  
5 presentations, so that will help us in our advocacy. Thank  
6 you.

7 MS. WONG: Thank you, Sasha.

8 We have one open question. Oh, no, we have no  
9 open questions right now, so I'm going to turn it over to  
10 Sandra for public comment. Thank you.

11 MS. NAKAGAWA: Dais, were there any questions for  
12 presenters? No?

13 All right, we will go over to our Deputy Public  
14 Advisor, Ryan Young, who's going to be running our public  
15 comment for this afternoon.

16 MR. YOUNG: Thank you. We'll now take public  
17 comment. One person per organization may comment, and  
18 comments are limited to three minutes per speaker. We'll  
19 start with those in the room who have indicated they would  
20 like to comment. I did not receive any blue cards  
21 currently, but if there's someone, please approach the  
22 podium. Provide your comment. Please state your name for  
23 the record.

24 MR. FREEDMAN: Should I use the microphone or do  
25 want me to do the keypad?

1 (Off mic colloquy.)

2 COMMISSIONER GALLARDO: Hold on, yeah.

3 MR. FREEDMAN: Hello?

4 MS. NAKAGAWA: Yes.

5 MR. FREEDMAN: Yeah, that works better. Sorry.

6 Good afternoon. My name is Yuri Freedman. I'm with the  
7 Southern California Gas Company.

8 We appreciate the Commission's, and personally  
9 your Vice Chair, leadership in this important area. Thanks  
10 to the hard work of the Commission and your colleagues and  
11 other agencies, hydrogen now reached the point of broad  
12 consensus among public and private sector stakeholders,  
13 such as -- as the list is long, so I'll truncate it, the  
14 CEC itself, Air Resources Board, Ports of Los Angeles and  
15 Long Beach, Los Angeles Department of Water and Power, as  
16 you have heard today, Burbank Water and Power, Prologis,  
17 Mainspring, and many others. These stakeholders agree that  
18 hydrogen will play a critical role in assuring reliable,  
19 resilient, and affordable energy transition for California.

20 At this point, it is important to develop an  
21 integrated planning framework for electronic and molecular  
22 components of California's energy system, that is, for its  
23 power and gas and other energy sectors. Such planning,  
24 including, importantly, connected infrastructure, is  
25 necessary to assure the state moves toward its

1 decarbonization goals without compromising energy  
2 reliability, resiliency, and affordability. This planning  
3 is of particular importance for hydrogen, since a large  
4 portion of it will be produced using electricity and used  
5 across the broad range of sectors, such as mobility, power  
6 generation, and industrial heat.

7 We look forward to the development of such  
8 planning process and our participation in that. Once  
9 again, thank you.

10 MR. YOUNG: Thank you for your comment.

11 Are there any other comments in the room?

12 I'll now turn to Zoom. If you are using the  
13 online Zoom platform, please use the raise-hand feature as  
14 a reminder to let us know you'd like to comment. We'll  
15 call on you and open your line.

16 We have, first, have Noah Lueneburg from LADWP.  
17 Noah? Noah, your line is unmuted. Okay, we'll come back  
18 to Noah in a moment.

19 Next, we have David E. Park. David, please  
20 unmute your line and provide your comment.

21 MR. PARK: Hi. David Park with the Hydrogen Fuel  
22 Cell Partnership, D-A-V-I-D P-A-R-K.

23 First of all, thank you so much, Energy  
24 Commission, for your historic leadership in this space and  
25 for this very important work and the focus today. The

1 speakers were top-notch. We're very interested in  
2 following up with them and we want to learn a lot more  
3 about their work in this space across the board.

4 I just wanted to note that we are currently  
5 working on a California ZEV strategy, a mobility strategy  
6 that includes hydrogen fuel cell electric vehicles and ZEV  
7 targets. That's soon to be published. And there is a  
8 parallel process that ARB is pursuing in the ZEV space.  
9 We would greatly appreciate if the SB 1075 work and the  
10 work that CEC is doing to support that could look at our  
11 work and see how that aligns with your forecasts and  
12 perhaps do some scenario modeling around our mobility  
13 strategy forecasts.

14 Quickly, we are looking at policy alignment  
15 across state, federal, and regional, and with a focus on  
16 economic sustainability, looking at hydrogen and its many  
17 forms of production and cost, and how do we light off the  
18 market with low-cost hydrogen to the customer, the consumer  
19 fleets, and also retail consumers, much as Linde stated  
20 from that TCO perspective.

21 So thanks very much for your work, and we look  
22 forward to our continued dialogue.

23 MR. YOUNG: Thank you, David.

24 We're going to try Noah again, Noah Lueneburg.  
25 If you'd like to make a public comment, please unmute your

1 line. It looks like Noah is unable to provide his comment  
2 this time. And I don't see anyone on the phone. Oh, it  
3 looks like Noah unmuted.

4 Noah, can you hear us?

5 VICE CHAIR GUNDA: I think we might need to open  
6 it up again, yeah.

7 MR. YOUNG: Noah, can you hear us? If, maybe you  
8 can unmute right now?

9 MR. YOUNG: We'll proceed. We don't have anyone  
10 on the phone, and so that concludes public comment.

11 Back to you, Sandra.

12 MS. NAKAGAWA: Thank you so much, Ryan.

13 A reminder to attendees that you can provide  
14 written comment to the docket. Written comments are due by  
15 5:00 p.m. on August 19th, and you can find instructions on  
16 how to provide those comments in the workshop notice, which  
17 is posted on the website for this page.

18 And we'll go back to the dais for Vice Chair  
19 Gunda for any closing remarks.

20 VICE CHAIR GUNDA: Thank you, Sandra.

21 I just want to thank all the speakers today.  
22 That has been a lot of content. It's good for everybody in  
23 attendance to know how hard we work here, you know, put you  
24 through a whole day. I thought, you know, the discussions,  
25 you know, all the way from the morning in terms of

1 understanding the viability of clean firm resources and the  
2 opportunity for them, and the benefits and additional  
3 insights that we need to draw, specifically on how best to  
4 value them, I think is an important thing for our team to  
5 take on.

6           From Hydrogen, you know, again, Yuri, thank you  
7 for being here the whole day. I know it's a long day. I  
8 see a number of colleagues here for the whole day. I  
9 thought the presentations in terms of Bloomberg, the  
10 overall opportunity, but specifically the Hydrogen panel  
11 from the industry trying to talk about the opportunity and  
12 all the work being done is excellent.

13           Thanks to the state team, CARB, CEC, the PUC on,  
14 you know, just the progress on 1075. And I think, Quentin,  
15 there's a number of questions that came through both on the  
16 transportation side, but also Max and Sammy, just on a few  
17 pathways. I think there was a point, there was a few  
18 points made on the viability and opportunity to further dig  
19 in. So we'll flag those for internal conversations.

20           But I just want to say thanks to everybody in  
21 attendance and the team for putting this together.

22           Commissioner Gallardo, anything?

23           COMMISSIONER GALLARDO: Solely, big gratitude to  
24 you, Vice Chair Gunda, for leading this, putting it on, and  
25 to the team for all the support, the IEPR Team and EAD Team



1 and everyone else.

2 I also wanted to commend my fellow, Eddie Chen  
3 over here, who's been here the entire day. He's the next  
4 generation of energy leadership, and he's filling his brain  
5 and heart with all of this information. So Eddie, thank  
6 you for being here.

7 All right, I'll close with that.

8 VICE CHAIR GUNDA: Thank you, Commissioner  
9 Gallardo.

10 With that, Sandra, back to you. You can do the  
11 honors.

12 MS. NAKAGAWA: Yeah, we are adjourned. Thank you  
13 so much, everyone.

14 (The workshop adjourned at 4:47 p.m.)

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 9th day of September, 2025.



ELISE HICKS, IAPRT CERT\*\*2176

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT\*\*367

September 9, 2025