

DOCKETED	
Docket Number:	25-IEPR-06
Project Title:	Accelerating Interconnection and Energization
TN #:	266064
Document Title:	Transcript - 08112025 - Integrated Energy Policy Report (IEPR) Commissioner Workshop on Accelerating Interconnection & En
Description:	Transcript - August 11, 2025 - Integrated Energy Policy Report (IEPR) Commissioner Workshop on Accelerating Interconnection & Energization
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	9/18/2025 11:54:26 AM
Docketed Date:	9/18/2025

STATE OF CALIFORNIA
CALIFORNIA ENERGY COMMISSION

In the matter of:

2025 Integrated Energy Policy)
Report (2025 IEPR)) Docket No. 25-IEPR-06
)
RE: Accelerating Interconnection)
And Energization)
_____)

IEPR COMMISSIONER WORKSHOP ON
ACCELERATING INTERCONNECTION AND ENERGIZATION

REMOTE VIA ZOOM

MONDAY, AUGUST 11, 2025

1:00 P.M.

Reported by:

Martha Nelson

APPEARANCES

COMMISSIONERS

Siva Gunda, Vice Chair, CEC

Andrew McAllister, Commissioner, CEC

CEC STAFF

Sandra Nakagawa, Director, IEPR

Q&A MODERATORS

Kelsey Choing, CEC

Brian McCullough, CEC

PRESENTERS

Hannah Griggs, CCST Fellow, Chair Hochschild's Office

Sean Simon, CEC

Molly Sterkel, Interim Director, Electricity Supply,
Planning & Costs Energy Division, California Public
Utilities Commission

Neil Millar, VPP Transmission Planning and Infrastructure
Development, California Independent System Operator

Danielle Mills, Principal, Infrastructure Policy
Development, California ISO

Jens Nedrud, Direction, Transmission Planning, Pacific Gas
& Electric

Manuel Avendano, Southern California Edison

Ashkan Nassiri, assistant director OF Power System Planning
Division, Los Angeles Department of Water and Power

APPEARANCES

PRESENTERS (cont'd)

Brian Biering, American Clean Power California

Matt Coldwell, Manager, Distribution Planning Branch,
Energy Division, California Public Utilities Commission

Phillip Kobernick, Peninsula Clean Energy

Bill Peter, Pacific Gas & Electric

Jigar Shah, Director of Energy Services, Electrify America

Josh Simons, President and Founder, Prosper Sustainably

INDEX		<u>PAGE</u>
Welcome		6
Sandra Nakagawa, CEC		
Opening Remarks		7
Siva Gunda, Vice Chair, CEC		
Andrew McAllister, Commissioner, CEC		
1. Introduction and Overview of Assembly Bill 1373 and 2023 IEPR		11
Hannah Griggs, CEC		
2. Bulk Grid Interconnection: Status and Improvements		18
A. Sean Simon, CEC		
B. Molly Sterkel, CPUC		
C. Neil Millar, California Independent System Operator		
Discussion between Commissioners and Panelists		43
Q&A from attendees, moderated by Kelsey Choing		57
3. Bulk Grid Interconnection Improvements		59
Panel Moderator: Sean Simon, CEC		
A. Danielle Mills, California ISO		
B. Jens Nedrud, Pacific Gas & Electric		
C. Manuel Avendano, Southern California Edison		
D. Ashkan Nassiri, Los Angeles Department of Water and Power		
E. Brian Biering, American Clean Power California		
Discussion between Commissioners and Panelists		106
Q&A from attendees, moderated by Kelsey Choing		---

INDEX	
	<u>PAGE</u>
4. Panel Presentations: Distribution-Level Interconnection & Energization	113
A. Matt Coldwell, CPUC	
B. Phillip Kobernick, Peninsula Clean Energy	
C. Bill Peter, PG&E	
D. Jigar Shah, Electrify America	
E. Josh Simmons, Prosper Sustainably	
Discussion between Commissioners and Panelists	166
Q&A from attendees, moderated by Brian McCullough	180
Public Comments	---
Closing Remarks	183
Adjournment	185

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

2

3

4
5
6
7
8

9
10
11
12
13
14
15

16
17
18
19
20
21
22
23
24
25

1 Attendees also have the option to make public
2 comment at the end of today's workshop. We won't be able
3 to respond to the public comments today, and those are
4 limited to a maximum of three minutes per person, with one
5 person allowed to comment per organization. Written
6 comments are also welcome, and instructions on how to
7 provide those can be found in the workshop notice. The
8 deadline for written comments is 5:00 p.m. on August 25th.

9 We're now going to go over to Vice Chair Siva
10 Gunda for opening remarks from the dais.

11 VICE CHAIR GUNDA: Good afternoon, everybody.
12 Thank you, Sandra, so much for getting started today.
13 Welcome, everyone, to the IEPR workshop on Accelerating
14 Interconnection and Analyzation.

15 My name is Siva Gunda, one of the five
16 Commissioners here at the CEC, and I'm currently serving as
17 the Associate Commissioner on the IEPR this year, and also
18 support our work on transmission resource planning and
19 demand forecasting. I have been pretty well engaged with
20 the work on DERs, as well, so, you know, just kind of
21 giving a wholistic view of the energy system that we are
22 working on.

23 I want to thank Commissioner McAllister for being
24 today on the dais with me, and all the panelists, both from
25 CPUC and CAISO, for supporting today's work, and the teams

1 at CEC.

2 I just want to start with some -- you know, just
3 start with some gratitude to Hannah Griggs, CCST Fellow
4 from the Chair's Office, who has put a lot of work into
5 coordinating this workshop. Thank you, Hannah.

6 I also want to thank Sandra, the IEPR leadership,
7 as well as Sean Simon and Shannon O'Rourke from our STEP
8 Division, or the Siting Division.

9 Workshops like this, as I always say, are really
10 critical to provide a forum for problem solving, laying out
11 issues that we need to be thinking through, ideating the
12 problem, ideating some solutions, and get some public input
13 as we move towards more into the regulatory structures.

14 Today, this work that we're working on is truly
15 to accelerate the transition needed to achieve our climate
16 and clean energy goals. As many of you who are attending
17 today recognize that in both for reliability as well as
18 long-term transition to clean energy goals, the state has
19 to continually build a significant amount of resources
20 every year. And it's really important for us to both
21 connect the resources needed, but at the same time, support
22 electrification on the demand side.

23 So building on CEC's recommendations in the 2023
24 IEPR where we've discussed much of these issues as a good
25 starting point, and I want to thank former Commissioner

1 Patty Monahan for leading that IEPR. We're going to have
2 Hannah describe some of those recommendations, and we're
3 going to move into work prepared by energy assessments
4 division that will be presented by Sean, and then finally
5 go into interconnection queue challenges presented by CAISO
6 and LADWP.

7 I'm really looking forward to hearing the lessons
8 that we've learned over the last few years, the
9 improvements to the interconnection and permitting
10 processes, and some of the plans to continue to tackle
11 issues and challenges. I think between CAISO and LADWP,
12 we'll have some instructive comparisons between different
13 balancing authorities in California, and also thinking
14 through how to do the distribution energization and
15 planning improvements.

16 Thanks again to everybody who always take time to
17 join these workshops and provide your input to the state
18 process.

19 And with that, I'll pass it to Commissioner
20 McAllister. Commissioner McAllister?

21 COOMMISSIONER MCALLISTER: Sorry, having a
22 double-mute problem there. Thanks, Vice Chair. You gave a
23 great introduction, and we have a lot of people to listen
24 to and hear from today, so I'll be very brief.

25 You know, we need it all. We need demand side,

1 and we need all scales on the front of the meter side, and
2 so local, regional, and the largest projects, and
3 including, you know, west-wide, which is the other
4 conversation happening right now.

5 So really happy to be having this conversation
6 about how we can sort of thread the needle and balance
7 process, but also rapidity, the speed we need to get
8 resources interconnected of all types. You know, diversity
9 is one of our strengths. And in a big, complicated state
10 like California, with lots of knowledgeable stakeholders,
11 and also just lots of resources, and climate zones, and
12 different aspects of demand, et cetera, and balancing
13 authorities, and big utilities of all ownership models.
14 It's really great to have this platform to do some level
15 setting and make sure we're all operating from kind of the
16 same, or at least share perspectives and operating from
17 sort of the same knowledge set.

18 So that's what the IEPR is for, and really
19 appreciate Sandra and the whole team getting us together,
20 as well as our colleagues at the PUC, and the CAISO, and
21 DWP, all the utilities who are going to present today, and
22 also all the industry. We have some great voices here, a
23 lot of knowledge on deck today.

24 So really appreciate your leadership, Vice Chair.
25 Would echo the sentiments regarding former Commissioner

1 Monahan, who's really leaned in on this in the IEPR a
2 couple years ago.

3 So, finally, just thanks to, you've said it, but
4 I'll reiterate Hannah, and Sean, and Shannon for all their
5 work setting us up for success here.

6 So thanks for everybody who's in attendance.
7 It's really an important conversation, and all the folks on
8 the dais, as well, really appreciate all the sharing and
9 collaboration amongst the agencies.

10 So, with that, I will pass it back to you, Vice
11 Chair. Thanks.

12 VICE CHAIR GUNDA: Thank you, Commissioner
13 McAllister.

14 In our tradition, just want to note that we don't
15 have PUC Commissioners today, so this workshop is all ours.
16 With that, I'll pass it to Hannah.

17 MS. GRIGGS: All right. All right, well, thank
18 you, Vice Chair Gunda and Commissioner McAllister, for your
19 introduction and your remarks. I also want to reiterate
20 that the work of the team here to put this workshop
21 together was immense, and I want to thank Shannon, and
22 Sean, and Tom Flynn, and Liz, and everybody who was
23 involved.

24 So, again, I'm Hannah Griggs. I'm a Science
25 Fellow in Chair Hochschild's office here at the CEC, and

1 I'm going to give a brief overview of the workshop today
2 and do some scene setting for what our presenters today
3 will be covering.

4 Next slide, please.

5 Today, the workshop will be divided into two sets
6 of panels, the first covering the topics of interconnection
7 and energization at the bulk transmission system level, and
8 the second at the distribution system level, and then we'll
9 follow with public comment and closing.

10 Next slide, please.

11 So the workshop is being held in partial
12 fulfillment of the requirements of AB 1373, which was
13 passed in 2023 and requires the Commission to assess the
14 barriers to electricity interconnection and energization
15 and provide recommendations on how to accelerate these
16 processes.

17 I'll talk a little bit later about this in the
18 presentation, but the Commission has done previous work in
19 2023 towards the goal of this bill in our 2023 IEPR, and
20 that addressed the same topics that same year that the
21 legislation was passed. So in many ways, the 2025 effort
22 will build off of that previous work.

23 Next slide, please.

24 So the legislation is one reason that we're here
25 today, but why should we be focusing on the barriers to

1 accelerating interconnection and energization?

2 Well, California is a state with ambitious energy
3 goals. For one, California is looking to move toward
4 electrification. The state aims to see 6 million heat
5 pumps installed and 1 million public electric vehicle
6 chargers by the year 2030. California is also working
7 toward 100 percent renewable energy by 2045.

8 All of these goals will require an unprecedented
9 scale-up of clean energy infrastructure and will require
10 the ability to interconnect a lot of new renewable power
11 projects, as well as energize a state moving toward
12 electrification. So in order to achieve this scale-up, it
13 has to be possible to interconnect and energize more
14 quickly than what's been possible previously.

15 So one of the motivations for studying
16 interconnection and energization in 2023 was to understand
17 the conditions leading to, in some cases, multi-year wait
18 times to interconnect or energize projects in the state.
19 So if prolonged delays were to continue as California gears
20 up to achieve 100 percent clean energy by 2045, it would be
21 a serious obstacle, so getting our interconnection and
22 energization processes right is key to California achieving
23 its energy goals.

24 Next slide, please.

25 Before moving forward, it may be useful to

1 reiterate what we mean by interconnection and energization
2 in the context of this workshop. Interconnection refers to
3 the connection of generating and storage resources that
4 provide electricity to the grid. Energization is the
5 connection of loads, many customer-owned, to the
6 distribution grid. So both of these are crucial as we move
7 toward our clean energy goals as a state.

8 Next slide, please.

9 So AB 1373 directs the CEC to study
10 interconnection and energization, but it's also useful to
11 look at the levels of grid systems these processes happen
12 in. So this workshop, instead of focusing on
13 interconnection and energization in two separate panels
14 will actually be structured to look at interconnection and
15 energization in the context of the bulk transmission system
16 and the distribution system, which make up California's
17 electric grid.

18 Next slide, please.

19 So the first set of panels will cover the bulk
20 transmission system, which is made up of high-voltage lines
21 carrying power over long distances. The transmission
22 system is the site of interconnection for utility-scale
23 generating and storage resources.

24 And then, afterwards, the workshop will turn to
25 the lower-voltage distribution system, which connects

1 customers and their behind-the-meter loads to the grid.
2 There are interconnection and energization examples in the
3 distribution system, including interconnection of
4 residential solar, which can provide power back to the
5 grid, and the energization of EV chargers.

6 Next slide, please.

7 So as Vice Chair mentioned earlier, the CEC
8 tackled these topics previously and not too long ago. In
9 2023, the CEC looked at the barriers to accelerating the
10 deployment of clean energy in its 2023 IEPR as one of its
11 Commissioner-selected topics. So here I'll briefly review
12 what that report discussed to set the scene for today's
13 discussion.

14 Next slide, please.

15 The 2023 Report was structured around the key
16 issues that the CEC saw as barriers to accelerating
17 interconnection and energization at the time. It really
18 distilled things down to five categories of considerations
19 that the CEC identified as crucial to keep in mind as the
20 state moves to address barriers.

21 So the first and the most emblematic of the
22 state's issues was to prioritize reducing the timeline to
23 deployment for clean energy resources. The report noted
24 that some projects were experiencing multi-year delays,
25 which is a chief concern when the state looks to scale up

1 its electric infrastructure to support a fully renewable
2 and electrified economy. One of the areas of opportunity
3 when it comes to prolonged timelines in 2023 was improving
4 the state's resource procurement and transmission planning
5 processes.

6 Another consideration for quickly scaling up
7 electric infrastructure is the effect that such a project
8 would have on ratepayers.

9 The report also highlighted data and process
10 transparency as a key sticking point for why the
11 interconnection and electrification of projects, why those
12 delays were so common.

13 And finally, the report noted that permitting
14 reform may be a key avenue for reducing project delays.

15 Next slide, please.

16 The report in 2023 identified, also, some
17 recommendations, some specific recommendations to address
18 the barriers to acceleration, which we'll hear a lot more
19 about in our panels today.

20 But to give a brief overview, the recommendations
21 of 2023 included emphasizing the importance of interagency
22 collaboration to solve these problems. And that includes
23 through an MOU, which will be featured a lot in the panels
24 today.

25 It also recommended exploring proactive

1 investment into grid improvements through improved planning
2 processes.

3 It also highlighted data transparency as a key
4 part of the state's improved processes.

5 And finally, the report emphasized the needs to
6 manage the cost impacts of grid improvements to ratepayers
7 through innovative or creative funding solutions.

8 So the 2023 IEPR did a lot to explore the issues
9 in California leading to long clean energy project
10 timelines, and it highlighted some potential solutions that
11 the state's been working on since 2023.

12 Next slide, please.

13 And that brings us to today. So looking forward
14 in the 2025 IEPR, this workshop aims to report on the
15 state's progress since 2023 on accelerating interconnection
16 and energization timelines, as well as to discuss ongoing
17 initiatives statewide to address these barriers going
18 forward.

19 Next slide, please.

20 Okay, so with that, I'll thank you all so much
21 for your time and attention. We've got some amazing
22 presenters today, so let's jump right into it.

23 I want to introduce Sean Simon, who's the Acting
24 Director of the Siting Transmission and Environmental
25 Protection Division at the CEC to start off our first panel

1 on bulk grid interconnection.

2 MR. SIMON: Thank you, Hannah. Everybody hear me
3 and see me okay? Great.

4 Okay. Hi. So my name is Sean Simon. Thanks for
5 the introduction, Hannah.

6 And we can actually go right to the next slide,
7 please.

8 So while the main focus of today's workshop is on
9 interconnection and energization, this doesn't exist in a
10 vacuum. It's really in part of a broader ecosystem of
11 activities focused on bringing resources online when and
12 where we need them. And there's been extensive work across
13 the energy agencies, the California Independent System
14 Operator, the Cal ISO, IOUs, and publicly owned utilities
15 and developers to strategically shift the transmission
16 development process to address these barriers.

17 So in this panel, we have representatives from
18 the entities that are part of the Joint Transmission MOU to
19 provide updates on the range of transmission planning and
20 permitting activities that have been advanced since 2023 to
21 help bring resources online and really what lies ahead.
22 And then the next panel will focus on interconnection
23 specifically as there has been a lot happening there, as
24 well, and some more to do.

25 The Energy Commission has broad statewide

1 perspective and the state's energy infrastructure planning
2 activities are really geared towards attaining our climate
3 goals while maintaining reliability and managing costs. My
4 MOU colleagues will cover the MOU in much more detail, but
5 just at the highest level in terms of responsibility, the
6 CEC forecasts long-term electricity demand, incorporating
7 the state's goals for 100 percent clean electricity and
8 economy-wide GHG emission reductions. And that demand
9 forecast informs the PEC's integrated resource planning
10 process, which in turn informs the ISO's transmission
11 planning.

12 But in practice, the MOU goes much further. Our
13 staff coordinate on all aspects of the resource and
14 transmission development to assure policy is executed well,
15 as well as process changes, all the way to revamping
16 reporting activities and then engagement with the energy
17 resource community in various venues.

18 One is the Tracking Energy Development Task
19 Force, the TED Task Force, which is led by the Governor's
20 Office of Business and Economic Development. It's a new
21 concept over a couple of years, but it's a good example of
22 how we're continually thinking about how to improve
23 processes to then get to better outcomes down the line.

24 So as you'll hear, there's been significant
25 process made in reform since 2023. Not all of the fruits

1 are borne out yet from these reforms, but today's
2 discussion can help create that shared understanding of
3 what progress has been made and where the state needs to
4 continue to focus in looking ahead. And, you know, today's
5 focus will be on the ISO territory, which is, you know,
6 roughly 80 percent of the state. It's really important to
7 highlight the role of the publicly owned utilities as state
8 partners in ensuring infrastructure across the board is
9 available where and when we need it.

10 We can go to the next slide, please.

11 So as Hannah covered, California has brought on
12 an unprecedented amount of new clean energy and storage
13 resources to meet our climate and reliability goals and to
14 keep pace with increasing electrification and other
15 sectors. Successful policy technological developments and
16 economic shifts are driving increases in electric load
17 after a long period of relatively flat demand. This rapid
18 growth of resource development put pressure on the existing
19 interconnection processes and were very front and center at
20 the time of the 2023 IEPR, as Hannah covered.

21 And these increases in the interconnection queue
22 and needs for transmission with increased costs affected
23 the complexity related to network upgrades and kind of
24 across the board. My MOU colleagues will go into this in
25 more detail, but this image is one of many that really

1 amplifies the message that managing the increased pace and
2 scale has required and will continue to require coordinated
3 and strategic approaches.

4 Next slide, please. Thank you.

5 So before handing it off, I just wanted to touch
6 on some maybe less visible activities that the Energy
7 Commission has been leaning into since 2023.

8 The first, you know, we, really, we think broad
9 in California, we think big and bold. And the MOU parties
10 and the Energy Commission are really participating wherever
11 these conversations are happening.

12 And the first two on the right are really
13 collaborative west-wide discussions that were happening.
14 The first on the cost allocation piece of transmission
15 development from a regional perspective, which has been a
16 tough nut to crack and thought to be one area that can ease
17 development going forward, and then the second bullet is
18 really looking at regional planning with what would that
19 look like to meet the needs of individual states.

20 And then on the federal side, the Energy
21 Commission participated in the proceedings that were being
22 led both on long-term planning, as well as permitting,
23 which Hannah touched on being such a sticking point in
24 building at a quicker pace than we've done in the past.
25 And then knowing that we need to do more and manage the

1 costs, you know, we have participated in some of the
2 federal funding activities and, you know, those are still
3 playing out. But that's an important -- there's no
4 question the federal government can be an important partner
5 in all of this.

6 So with that, I'm very happy to hand it off to
7 Molly Sterkel at the PUC's Interim Director of the Office
8 of Electric Supply Planning and Costs.

9 MS. STERKEL: Hi. Good afternoon, everybody.
10 Thank you very much for hosting this workshop today. It is
11 always a little bit of work to get ready for a
12 presentation, but it's also a moment to reflect on all of
13 the activities that we have been able to undertake and kind
14 of synthesize our progress to date.

15 Next slide. Thanks.

16 I'm just going to mention, before I head into my
17 handful of slides here, that the CPUC wears a few different
18 hats, so with respect to interconnection. So we have an
19 interest in planning, of course, for the bulk grid. We
20 also have an interest in interconnection tariffs
21 themselves. Of course, we also are interested in
22 procurement of new resources. We play a role in
23 permitting, especially of transmission lines, and we also
24 play a role at the Federal Energy Regulatory Commission in
25 terms of advocating for affordability and ratepayer

1 protections at FERC, so we also play a ratepayer advocacy
2 role.

3 So we wear a number of different hats, so this is
4 a brief presentation that covers a number of different
5 roles that we play. My slides are going to touch on the
6 themes that Hannah mentioned, both the coordination that
7 we're doing, already introduced by Sean. I'm going to
8 touch on the themes of data and data transparency. And I'm
9 also going to touch on a theme of ratepayer impact.

10 So let's, without further ado, let's switch to
11 the next slide.

12 So I'm going to talk about a few of the things
13 that we've been doing specifically with respect to
14 interconnection, but I also want to ground us in where we
15 are today.

16 Where we are is that we are at a point where we
17 have seen record-breaking new resource additions in
18 California in the past five years. This is an incredible
19 accomplishment that has taken intense coordination across
20 the development landscape. So developers proposed these
21 projects, going back, some of them, well over a decade ago.
22 They worked diligently to permit the projects with state,
23 local, and federal authorities. They worked tirelessly to
24 market their projects, and load-serving entities procured
25 the projects, contracted for those projects. The projects

1 were then sent into the supply chain and constructed, and
2 once the projects were constructed, they had to safely
3 interconnect to the grid.

4 I think I may have omitted, they also needed to
5 be studied for interconnection, and in many cases,
6 interconnection network upgrades, both project-specific as
7 well as grid-wide upgrades, were built to support these
8 projects. So it is a very complex undertaking.

9 Having said that, we've brought 25,000-plus
10 nameplate new resources onto the grid as -- with the CAISO
11 as the first point of interconnection. An additional 2,000
12 megawatts of dedicated imports have been brought onto the
13 grid. There have been over 400 individual new projects
14 that have achieved CAISO interconnection. These are 400
15 individual resource IDs that are now bidding into the CAISO
16 market and providing energy services to the grid.

17 These new resources provide over 18,000 megawatts
18 of net qualifying capacity to serve reliability because, of
19 course, not all of these nameplate resources are available
20 every day, all day. And an important note, as you can see
21 from the giant purple swath on this chart, is that over 200
22 of the new projects are storage. Those storage projects
23 are providing about 69 percent of the reliability capacity,
24 although you can see that they are not 69 percent of the
25 chart.

1 So even just in 2025, we've had over 50 new
2 projects achieve commercialization, come online, reach COD.
3 That's over 2,800 megawatts so far this year.

4 2024 was the largest addition of clean energy
5 capacity in the history of California, with just about
6 7,000 megawatts connected to the CAISO and additionally,
7 you know, additional megawatts outside of the CAISO. I
8 believe we are now at the point where we can say we have
9 achieved over 67 percent clean energy on the California
10 grid, and there was a recent press release about that.

11 All of that is amazing news, and we should all
12 celebrate it. The remainder of this presentation and the
13 workshop today will be about how hard it is to continue
14 this trend, how hard it is to get here, all of the pain and
15 agony that is represented in these numbers. And I think
16 it's important for us to talk about those challenges and
17 always work to improve them, but I do want to start us with
18 this piece of happy news.

19 Okay, next slide.

20 I always have to start with good news. Okay, so
21 the CPUC, CEC, and CAISO signed a Memorandum of
22 Understanding in December 2022. This was an update to a
23 long-standing Memorandum of Understanding that had gone
24 back for more than a decade. It commits the three
25 organizations to work together on all things related to

1 procurement and resource planning. I'm going to let my
2 colleague Neil Millar talk about the CAISO side of the
3 equation. And I appreciate the fact that Sean already
4 mentioned the CEC forecast related to electricity demand.
5 It was nice to see that load forecast from Sean, because
6 when you looked at it, it showed this inflection point, and
7 it looks like that inflection point is just about where we
8 are today. Right about in 2025, you suddenly see demand
9 start to grow, and that is likely the case.

10 However, I do want to highlight that the CEC has
11 been forecasting load growth for some time, and the CPUC
12 side of the MOU has been planning for those future
13 resources, and that's why you've seen some of the megawatts
14 that I mentioned in the prior slide coming online, because
15 we are anticipating some amount of load growth and also
16 providing for some amount of retirements.

17 So the main thing that the CPUC does for our
18 portion of responsibility within the MOU is that we
19 identify the future resource mix through our integrated
20 resource planning process. We develop a portfolio of
21 expected resources, wind and solar and storage and offshore
22 wind and out-of-state wind, geothermal, natural gas, what
23 have you. We look at where those resources are likely to
24 be developed.

25 We take into account where those serving entities

1 have expressed an interest in developing resources, we take
2 a look at where developers have entered the queue, and we
3 put together two portfolios. One is usually a reliability
4 and policy-driven base case that the CAISO uses in their
5 transmission planning process, and we also look at a
6 policy-driven sensitivity to ask ourselves some what-if
7 questions. Those portfolios feed into the transmission
8 planning process and we -- and then the CAISO authorizes
9 transmission as a result of those portfolios.

10 In addition, we also work with our load-serving
11 entities, and we ask them where they have contracted for
12 resources. We also have, in the past six years,
13 established a number of CPUC planning orders for resource
14 procurement. And those resource procurement orders have
15 resulted in the procurement that you saw the prior slide,
16 as well as the expectation of probably more than 20
17 gigawatts of additional resources that are under contract
18 for load-serving entities today.

19 So this is all I'm going to say about the MOU,
20 but I know Neil will cover it more.

21 Next slide.

22 So the second major topic I wanted to touch on
23 today is something that we've done recently to improve the
24 permitting for transmission. As I just mentioned,
25 transmission is an important part of interconnection. When

1 there are network transmission upgrades needed, it can
2 provide for the additional interconnection of new resources
3 onto the grid. We also need transmission just to maintain
4 reliability and things like that, but in particular to
5 allow for the interconnection of generation. That's what
6 we're focused on here today.

7 The CPUC has a general order, which we refer to
8 as General Order 131. We updated it in January 2025. It's
9 no longer called GO 131-D. It is now called GO 131-E
10 because we have a very complex numbering system, naming
11 convention -- I'm joking -- where we go through the letters
12 of the alphabet when we do an update. So this is the
13 general order that establishes our agency's roles for
14 permitting. So an electric transmission company wants to
15 apply for a permit to build a large transmission facility
16 in the state, and they have to come to the CPUC and ask for
17 a permit. The general order establishes the rules of the
18 game. This general order had not been updated in over 20
19 years, and it was time for a refresh.

20 These new rules are expected to accelerate
21 transmission permitting timelines. An important reason why
22 it will do that is because this permit -- this general
23 order establishes the interaction between the permitting
24 process and the environmental review process. So the
25 state -- sorry.

1 So as most of you probably are aware, the state
2 has the CEQA law, the California Environmental Quality Act,
3 which requires state and local governments, including, of
4 course, the CPUC, to inform decision-makers and the public
5 about the potential environmental impacts of any proposed
6 project, as well as minimize the environmental impacts of
7 that project. So since the CPUC needs to issue permits for
8 transmission lines, we have to disclose to the public the
9 environmental impacts. We are the lead agency under CEQA
10 for many transmission projects. And so this general order
11 updates many of the detailed rules related to that.

12 And one of the key things noted here on the slide
13 is it includes shifting the environmental review earlier in
14 the process and also eliminating some permitting
15 requirements for smaller projects. It allows for
16 applicant-prepared administrative draft versions of CEQA
17 documents, and it clarifies many of the permit exemptions.

18 It also establishes a pilot program to
19 investigate ways to accelerate the existing timelines for
20 our CEQA review. We have an upcoming workshop on August
21 21st to cover proposed metrics to be tracked in the pilot
22 program, so I invite all of you to join for that. And we
23 will report results of the pilot program every two years,
24 starting at the end of next year.

25 Moving now to another aspect of the CPUC's

1 involvement with interconnection and transmission, I want
2 to highlight the CPUC's transmission project review
3 process. The CPUC is the California state agency that
4 represents California ratepayer interests in Federal Energy
5 Regulatory Commission transmission owner rate cases.

6 And since 2020, California's transmission
7 stakeholder processes and our involvement in the review of
8 transmission have yielded over \$1 billion in long-term
9 ratepayer savings. What that means is that the CPUC has
10 participated as intervenors in the FERC regulatory cases
11 that establish the rates for the transmission owners, and
12 we have advocated for reductions in rates.

13 The only way you can do that is if you literally
14 dig into the details of all of these rate case filings.
15 These filings are analogous to what we do in our general
16 rate cases at the CPUC for distribution-level investments
17 for the investor-owned utilities, but these are the rate
18 cases that take place at FERC.

19 So under a resolution that we refer to as E-5252,
20 we established something called the transmission project
21 review process. It's a single unified transmission
22 stakeholder process for the three investor-owned utilities
23 under the CPUC authority. And what it does is it requires
24 our investor-owned utilities to file twice per year and
25 provide significant quantities of data on all of the

1 transmission projects that are under development in their
2 purview.

3 So these projects, transmission projects, take a
4 very long time to go from planning to authorization through
5 construction and commissioning. It is not unusual for them
6 to take more than a decade to go through that process. And
7 so all along that process, the transmission project review
8 process allows us to monitor cost and progress and
9 timelines for those projects.

10 And so there are these three data requests --
11 there are these two data request periods for each of the
12 utilities, and each of them has an associated comment
13 period and question period, and that allows stakeholders to
14 ask questions about the projects. So this gives us insight
15 and transparency into which projects are on progress, which
16 projects are being pulled back for redesign, which projects
17 maybe have increased in cost due to a routing change or a
18 technology change, and it allows us to keep all of that
19 information available transparently.

20 If you're interested in this process, I sincerely
21 invite you to visit our TPR website. There's also an email
22 address here on the website.

23 So to give you an idea, these data requests
24 yield, you know, thousands of rows of data about all of the
25 transmission elements. Now not all of the transmission

1 elements under development by our investor-owned utilities
2 are generator interconnection related. However, there is a
3 field that identifies which ones are generator
4 interconnection related.

5 Next slide.

6 Okay, so stepping back for a minute, I mentioned
7 that we have a permitting reform that we've undertaken. I
8 mentioned that we have this TPR process to track all the
9 projects. When we look at that TPR data, we can use that
10 data to give you a snapshot for projects that have expected
11 in-service dates between 2025 and 2033. So this is like an
12 eight-year period of projects. These are projects that
13 have, let's say, online dates expected between now and
14 2033.

15 Of those total projects, there are about 715 of
16 them across the three investor-owned utilities. These are
17 just the projects that have a cost of \$1 million or
18 greater. And there are a number of projects. The vast
19 majority of the projects, 575 of them, are not approved by
20 the CAISO. These projects are self-approved by the utility
21 to maintain the transmission grid. A smaller number, 140
22 of them, are CAISO-approved projects. And then the
23 projects, you know, using this Sankey chart, you can see
24 that many of the projects, both CAISO and non-CAISO
25 approved, are exempt from permitting. So that's the top

1 lightish green.

2 There are a number of projects in this pile that
3 the permitting project -- the permitting status of those is
4 TBD. It's not yet determined. That's in the darker green.

5 There are a number of projects in the red that
6 will require an advice letter at the CPUC of Notice of
7 Construction but not a full permitting process, so think of
8 that as a ministerial review.

9 And there are a small number of projects, the 17
10 next to the letters PTC and the 7 next to the CPCN, I'll
11 try to do math while I'm talking and, you know, I hope that
12 I come up correctly with 24. Did I do that correctly?
13 Hopefully. Don't do math during a webinar. Anyway, the
14 Permit to Construct and the Certificate of Public
15 Convenience and Necessity projects, those projects at the
16 very bottom in yellow and purple will be permitted through
17 the general order 131E process at the CPUC.

18 So this gives you an idea of how many projects
19 are underway in the California grid to support reliability,
20 to support generator interconnection, and to keep the
21 lights on in California.

22 Next slide.

23 So digging a little bit into the transmission
24 projects that are specifically needed for generator
25 interconnection. In response to a state law that passed a

1 few years ago called SB 1174, the CPUC has undertaken a
2 process as part of the renewable portfolio standard
3 proceeding to review the transmission delays and impacts on
4 generator interconnection specifically. So that prior
5 slide showed you the entire universe of transmission
6 projects. We decided to dive a little bit deeper just into
7 those that are required for generator interconnection and
8 look at which of those projects are delayed and for what
9 reasons and link them up to which generation queue
10 positions are impacted by that transmission delay.

11 So we've undertaken this assessment now two
12 times. We've finished the assessment twice and we're
13 undertaking the third assessment. We're getting smarter
14 with each round of it. So jumping to the -- jumping ahead
15 to -- the bottom line is that we release our assessment
16 results in the annual RPS report, and so we will do that
17 again in 2025.

18 So the assessment objectives were just simply to
19 identify how many gigawatts of generation and storage
20 resources are projected to be delayed or at risk of
21 becoming delayed due to transmission projects that these
22 resources depend on. It sounds quite simple. It's right
23 there in the first bullet. It is a complex undertaking.
24 And many generator interconnection projects are dependent
25 on many transmission projects, and then many transmission

1 projects have many -- you know, are likewise associated
2 with many different generation projects. So trying to ask
3 questions and get meaningful data about the reasons for
4 delay is a complex undertaking.

5 Nonetheless, what we identified in the 2024
6 assessment, and I believe we can talk about this more later
7 in the webinar, is that we did identify several high-impact
8 transmission projects that are putting multiple gigawatts
9 of in-development renewables at risk. And we also, as you
10 can see in the chart to the right, we categorized the
11 projects by those that are at risk, delayed, and not
12 delayed.

13 So I think this adds up to a total of about, if I
14 recall correctly, 29 gigawatts of resources. So there were
15 about 29 gigawatts worth of resources in this data set, and
16 a small percentage of them somewhere about 3 gigawatts are
17 at risk, about 12 gigawatts of them are potentially
18 delayed, and another 12-ish gigawatts are not delayed. The
19 orange and the blue distinguishes between storage and RPS-
20 eligible resources.

21 So we're going to continue to undertake this
22 assessment. We're going to refine our methodology. We did
23 that for this year. We've just received the data for this
24 year, and we're analyzing it now, and there are some links
25 on the slide to additional information that we've provided

1 previously, as well as where you'll find the future
2 releases.

3 Next slide.

4 I'm just going to conclude by noting this
5 resource link page has links to each of the major items
6 that I discussed in my presentation, and with that, I think
7 I'm going to turn it to Neil Millar.

8 Thank you.

9 MR. MILLAR: Good afternoon, and thanks for
10 having the opportunity to speak today, and I also
11 appreciate the comments Sean and Molly made before.

12 I will be putting a particular transmission
13 emphasis on these slides. I'll try to avoid duplication as
14 best I can, but I also have to note that the
15 interconnection issue more specifically, Danielle Mills
16 from the ISO will be speaking to that in a later panel
17 about the things we've been doing on the interconnection
18 process side.

19 I also have to applaud Molly Sterkel for her
20 courage in doing math in public, which is something that I
21 do not have the courage to undertake, so there won't be any
22 math here.

23 Let's see. If I could move to the next slide,
24 please?

25 So touching on the same Memorandum of

1 Understanding that was mentioned before, I just wanted to
2 put the point that this really has been the tightening of
3 the linkages between the resource planning, transmission,
4 interconnection, and procurement, it has really been
5 fundamental to our success in advancing new transmission to
6 meet the state's clean energy goals, and also setting us up
7 within the ISO for the interconnection process changes that
8 were also necessary to align with procurement needs.

9 Next slide, please.

10 As Sean mentioned, there had been a ramp up in
11 activity a few years ago. So after about 10 years of
12 averaging around \$650 million a year in new capital in our
13 transmission planning process, through the years, through
14 the plans approved in 2022, '23, and '24, we averaged about
15 \$5.8 billion in new approvals in each of those years,
16 primarily on policy-driven transmission that were directly
17 the result of the coordination with the resource planning
18 process.

19 The plan approved this spring in 2025 was a bit
20 smaller at \$4.8 billion, but there was a very interesting
21 shift to primarily reliability-driven capital as opposed to
22 policy-driven, recognizing the gains that had already been
23 made in advancing projects to meet policy-driven needs, at
24 least over the next 10 years.

25 And I also wanted to mention that in 2024, we

1 updated our 20-year outlook document. And we do recognize
2 that the bulk of the transmission identified in the first
3 20-year outlook, while there were different alternatives
4 perhaps selected, those corridors, those transmission
5 corridors were largely now addressed through the past
6 approvals within our transmission plan. The 2024 outlook,
7 of course, is reaching further out and identifying
8 additional needs, but the linkages have really been
9 successful there.

10 If I could move to the next slide, please?

11 The 2025-26 plan that is currently under
12 development is also building on that same level of
13 coordination. I won't go through the material here, but
14 this slide does set out the resources that are being
15 included in that planning process with a bit of a
16 particular emphasis on some of the out-of-state wind
17 resources that will need more attention over the next few
18 years in this plan and in future plans to come to terms
19 with not only how to get those additional resources to our
20 border, but perhaps additional reinforcements inside our
21 footprint once they get to the border.

22 Next slide, please.

23 Also, as Sean had indicated, we do see that we're
24 actually entering a bit of another inflection point in
25 driving up the requirements. The load forecasts that we're

1 receiving, the most recent forecasts are showing another
2 increase in the rate of growth that we will be dealing
3 with, and that will require some revisiting of the
4 renewable portfolios we've been using for our approval
5 process in the 10-15-year timeframe, as well as in our 20-
6 year outlook framework. So we do see another shift coming
7 as we recognize a pretty significant increase in the rate
8 of growth now being projected over the next number of
9 years.

10 That also reflects a change in some
11 characteristics, as we're also dealing with new types of
12 load that have higher load factors, such as data centers in
13 particular.

14 Next slide, please.

15 The TED Task Force course had been referred to
16 earlier, but I also wanted to mention one of the other
17 forums that's a bit more tactical for interconnections, and
18 that's the Transmission Development Forum that is also run
19 in conjunction with the help from the Public Utilities
20 Commission. It's also run twice a year. It is focusing
21 primarily on targeted in-service dates, and it focuses on
22 ISO-approved projects, as well as projects that have been
23 initiated or triggered through the interconnection process
24 itself.

25 So this is primarily of interest to the

1 development community looking to line up the dates of their
2 interconnections with the transmission projects that they
3 are dependent on. So there is a heavy focus on the dates
4 in that process and giving an opportunity for all of the
5 participating transmission owners to present on changes in
6 schedules since the last meeting and for them to give
7 answers about what has driven some of those delays or
8 changes in their schedules.

9 Next slide, please.

10 There are also changes coming our way through the
11 implementation of FERC Order 1920 and the associated orders
12 that did some minor adjustments. This does require the ISO
13 to restructure some of our transmission planning process,
14 focusing on the regional needs.

15 And what we did see driving FERC's interest in
16 developing this order was, to some extent, the dearth of
17 regional transmission projects outside of the ISO. There
18 really haven't been any regional transmission projects
19 identified under the FERC Order 1000 framework. All of the
20 other upgrades that have taken place inside the Western
21 region have been classed as local facilities, which raises
22 concerns about the level of regional coordination across
23 the West.

24 So the order was issued in 2024. We are driving
25 to our compliance filing that is due by the end of this

1 year.

2 I should also mention that that order, largely,
3 the 19-A largely sustained the Order 1920 requirements, but
4 an interesting point is it did further enhance the role of
5 relevant state entities. And I think that just puts a
6 finer point on the recognized importance of the
7 coordination that we have always had in place with our
8 state agencies in which we tightened through the Memorandum
9 of Understanding.

10 Next slide, please.

11 I also wanted to mention that the FERC orders
12 will significantly increase the amount of analysis that is
13 necessary, and that also requires supporting input from our
14 state agencies. It does not actually introduce any new
15 concepts for the ISO where we've already been implementing
16 for a number of years many of the directional changes that
17 FERC is now requiring on a national level, which I think
18 also bodes well for how well our past practices have been
19 received. These included requirements to conduct longer-
20 term planning, such as the 20-year horizon that we've
21 implemented a number of years ago. It enhances the role of
22 state regulators and long-term regional transmission
23 processes, reflecting as well the coordination that we've
24 had in place. It requires local transmission and planning
25 inputs into the regional transmission planning process.

1 We at the ISO, within California, the ISO's role
2 has been to be to lead the transmission planning process
3 both for local and regional facilities within our
4 footprint. And it also requires addressing generation
5 interconnection-related needs that have shown up in the
6 past, and we've already gone far beyond that in the level
7 of integration with our transmission planning and
8 generation interconnection process.

9 Lastly, it also requires consideration of the use
10 of grid-enhancing technologies, which we have been using,
11 documenting their use in our transmission plan, and
12 actually most recently have also now been providing a
13 report to the legislature about the use of grid-enhancing
14 technologies.

15 Last slide, please.

16 So while I totally agree with the comments that
17 Molly and Sean made about the progress that's been made to
18 date, we do recognize that there's a lot of work ahead of
19 us, so we do see three areas of always needing the
20 continued attention to make sure we stay on track. That
21 includes timely procurement of resources so that those
22 resources can give notice to proceed where they're driving
23 local upgrades, as well as their interconnections. We do
24 see a focus needed to be maintained on ensuring the
25 transmission projects are driving to their in-service

1 states. And we do see needing to maintain that level of
2 coordination between the transmission planning with the
3 state forecasting and resource planning activities in order
4 to be successful.

5 So with that, I'll look forward to any questions
6 and turn it back to the panel, so thank you very much.

7 MS. NAKAGAWA: Thank you, Neil. Thank you,
8 Molly. Thank you, Sean.

9 We're now going to go to the dais. Vice Chair
10 Gunda, if you want to start us off with any questions from
11 the dais.

12 VICE CHAIR GUNDA: Yeah, thank you, Sandra.

13 I think first I want to just begin by saying,
14 Molly, thank you, Sean and Neil. Just thanks to all three
15 of you for setting the stage really, really well. I think,
16 you know, first of all, I benefit incredibly from all the
17 conversations we're all on, and then also just learning
18 from the three of you constantly.

19 So, Molly, I'm also not going to try and do math.
20 I tried to do that in an oversight hearing, and it did not
21 go well. I had an order of magnitude mistake I've made.
22 So thanks for braving that.

23 I think, you know, just, you know, from each, you
24 know, I'm tracking this, but for the record and for the
25 opportunity for everybody to hear, can each of you speak,

1 and I think, Sean, you were kind of, you know, when you
2 were in Commissioner Rechtschaffen's office, you were kind
3 of leading the MOU work from there, you know, at the POU.
4 So can each of you just provide the importance of the MOU?
5 Like, what did the state actually gain from the MOU? What
6 was different before? What's different today?

7 Neil, you came off mute first, so --

8 MR. MILLAR: Oh, okay. I thought we were going
9 in order, but I'm happy to take a first shot.

10 Well, I should admit, for someone who's also been
11 at times tasked with defending some of these transmission
12 projects in the various permitting processes, it's been
13 absolutely critical that we've been able to demonstrate the
14 alignment that the transmission that we're advancing under
15 a FERC tariff-based process, that those transmission
16 projects have been fully thought out in terms of the
17 resources that they're accessing and that they align with
18 state policy goals also reflected through the Energy
19 Commission's forecast. That coordination really addresses
20 the bulk of any stakeholder concerns around our
21 transmission projects in terms of what's driving them.

22 So we see the integration with the very well
23 thought out Energy Commission forecasts coupled with the
24 Public Utilities Commission's resource planning being
25 absolutely critical to identifying the right transmission

1 and being able to move forward confidently knowing that it
2 will be properly supported in future permitting processes,
3 that it really does reflect the state policy goals overall.

4 And, you know, good teamwork also means playing
5 your position well, but also not butting into your other
6 team members' positions. And in that role, it's also
7 critical that we occasionally have stakeholders encouraging
8 us to make tweaks here or there to the forecast or the
9 portfolios.

10 But the level of coordination has been absolutely
11 critical at moving on an integrated, coordinated fashion
12 given the pace of the development that we're moving on. If
13 things are moving slower, we have more time to take a more
14 relaxed cyclical approach, but with the pace of development
15 that's required, we need to ensure that we're as
16 coordinated as possible so that we can move forward
17 effectively and also not move on transmission that is not
18 needed or move on transmission before it's needed.

19 So that to me is the absolutely critical part,
20 and that's where the Memorandum of Understanding has really
21 helped tighten those linkages.

22 MR. SIMON: Why don't you go ahead, Molly. I'll
23 clean up.

24 MS. STERKEL: Perfect. Well, I'll just go back
25 in time a little bit. So in addition to braving math, I'll

1 also brave history here.

2 So prior to the Memorandum of Understanding,
3 generators were -- there was a chicken and egg problem.
4 Generators knew that they could build resources places, but
5 they lacked the network transmission in order to deliver
6 them to load. And so there wasn't an organized process to
7 identify what those big transmission projects were to -- in
8 order to facilitate and sort of unlock the access to those
9 resources.

10 So in the early days of the RPS program, we had
11 two major transmission lines, the Tehachapi Transmission
12 Project, as well as Sunrise Transmission Project, which
13 were brought to the state and brought into existence
14 because, you know, the -- don't quote me on this version,
15 but kind of sort of everybody knew we needed this
16 transmission but nobody was willing, no one generator could
17 afford to front the total cost of the transmission in order
18 to bring it to fruition. Likewise, no one who was in a
19 local government wanted to support the authorization of a
20 new transmission line if they didn't know it was part of a
21 coordinated statewide policy driven process.

22 So the experience that we gained as a state
23 through the authorization of those two projects, as well as
24 some other blood, sweat and tears, that led to this
25 original MOU, which of course we've revised more recently.

1 And the idea here is to use the best analytical resources
2 we have, put all the data together about where we think the
3 new resources are going to develop and then proactively
4 plan for that transmission. And unless the state is going
5 to stand behind its planning processes, you know, we won't
6 be able to move forward. People will always be second
7 guessing ourselves. Is the process going to be perfect?
8 No, but it is absolutely a required process so that we can
9 have some semblance of order. We can get some transmission
10 built and developers can try to identify projects that can
11 then interconnect to those new lines.

12 So I don't know, hopefully that little bit of
13 history works.

14 Sean, you want to close it out?

15 MR. SIMON: Yeah. No, that's great. I think
16 everything Molly and Neil said on the mechanics is right.
17 And it's sort of, it comes from a -- not that, oh, now we
18 have to coordinate to really leaning into it together with
19 our -- with the independent sort of processes and linking
20 them to really from more of a reflective, continuous
21 improvement mindset, which is a balance actually, because
22 markets want stability, but they're also calling for
23 change. And we hear that call for change.

24 And then it's just the intangibles of being in
25 conversation together, bringing questions to one another

1 about things, and then extending that relationship into
2 ancillary things like coming in together on a grant with
3 the federal government or looking at a stakeholder process
4 that could have just stayed a normal course, but getting
5 together and asking, are we really meeting the needs of
6 what people are asking?

7 VICE CHAIR GUNDA: Yeah. Thanks Sean. I think,
8 you know, I just have to say, I mean, I've been in this for
9 eight years, I know, three as staff and about four in this
10 role, four and a half in this role. And over the time,
11 I've really learned to appreciate the complexity of our
12 roles and complexity of, you know, the work that we do, but
13 also the need for working together and how well that's kind
14 of coming forward. So just wanted to say thanks to the
15 three of you and the teams that you represent.

16 I have a very quick question for Neil, then I'll
17 pass it to Commissioner McAllister. And, Sean and Molly,
18 if you want to add to it, please do.

19 Neil, just a 30,000-foot level, one of the things
20 we're dealing with across demand forecast, you know,
21 whether it's distribution planning, you know, IRP, is the
22 uncertainty, the vast uncertainty in the demand because of
23 electrification, climate impacts, new loads that may come,
24 may not come. And that, you know, that starting point is
25 translating at different levels to, you know, IRP, DRP,

1 TPP, and then 20-year transmission planning.

2 Can you give us a little bit on how CAISO is
3 thinking about ensuring both, you know, that rates are
4 protected, you know, but at the same time, we are future-
5 proofing the investments and not caught off guard?

6 MR. MILLAR: I'd be happy to. I think the most
7 important part there is about the sensitivity work that
8 goes into considering options. And part of that includes
9 picking options that are always a good first step, not
10 necessarily always, I'll say going for the fences with a
11 transmission project, but picking scalable options that we
12 recognize that once you get down a few years down the path,
13 there's always a risk that the load growth softens and that
14 you need to be comfortable that what you've moved on is a
15 defensible plan, that it's useful in the long run, and
16 you're not dependent on some next step in order to achieve
17 the actual benefit of the plan.

18 So considering what you would do both if the pace
19 accelerates, what are your options, as well as what if the
20 pace of load growth slows, that might mean that some
21 project you're moving on, you can also -- it's one thing to
22 delay a project, it's another different to try to advance
23 it.

24 So our focus has normally been to try to achieve
25 the required in-service state, monitor the load growth,

1 make adjustments if necessary, but also in the sequencing
2 of transmission projects, consider, well, this is the right
3 first step, how does that leave us positioned if that's
4 where the load growth started to soften? Or what is the
5 next step that you would take assuming the load growth
6 continues? And that's where we think things like the 20-
7 year outlook are also very important to consider about
8 demonstrating what the long-term plan is. And we know that
9 20-year outlook timing will shift, of course, but that kind
10 of consideration is what we see as being absolutely
11 critical.

12 I think the other thing I should mention is that,
13 well, it looks like about half of the total dollars
14 approved are on a small number of greenfield projects, and
15 those tend to be the ones that go out for competitive
16 procurement. The other half is spent on upgrades to
17 existing facilities that are much more incremental bites,
18 upgrading existing substations, reconductoring, and so on.
19 And that's also where we need to make sure we're getting
20 the absolute best value out of the upgrades we build, and
21 that includes looking at grid enhancing technologies.

22 And in that front, you know, we have been using
23 flow controllers more than some of the other grid enhancing
24 technologies. The utilities did need to get through a bit
25 of an entry hurdle, a price hurdle, on starting to use some

1 of the advanced conductors. It required new training, new
2 tools, new practices, also sparing equipment and everything
3 that goes with it. But once they're adopting some of those
4 advanced conductors, it does make it more economic to
5 continue using them in more applications.

6 So it's also critical that we stay on top of
7 emerging technologies that we can take advantage of to keep
8 the costs as low as possible. And that is a critical
9 component to us in our planning. We know we're spending
10 ratepayer dollars, that these facilities do have rate
11 consequences, and we take that very seriously.

12 VICE CHAIR GUNDA: Thank you, Neil.

13 Commissioner McAllister, go ahead.

14 COOMMISSIONER MCALLISTER: Yeah, sure. Well, you
15 covered some of what I was going to ask, but I guess I'll
16 sort of distill my questions if I can.

17 But thanks so much to all three of you. This is
18 just the complementarity and the clear iteration, the clear
19 collegiality and sort of constant communication I think
20 comes across in the presentations, and also just from
21 first-hand experience, I see it happening.

22 And I guess I remember back to the days when the
23 MOU was kind of being developed under former Chair
24 Weisenmiller, and then with the staff kind of going back
25 and forth, and at the time, it really did seem like

1 something new, but it also was sort of like a course, you
2 know? And, you know, we needed to be doing that all along.
3 Sorry, I've got a little companion here.

4 So anyway, it's amazing to see just the fruits
5 of all this labor, and just the professionalization and the
6 just intentionality that the MOU has nurtured and brought
7 into reality. So just kudos to everybody, including Vice
8 Chair Gunda. I mean, you know, you were a really key part
9 of that back when, you know, in the early days of MOU and
10 sort of bringing all the juice out of it and operationally
11 making it happen.

12 So I guess, again, I guess mostly a question for
13 Neil, but all three of you would have some good
14 perspective, I think. And Sean, I think, you know, you
15 were at the PUC during much of this. So you, Molly, I
16 think also. I guess it's sort of a two-part question.

17 I mean, so I guess I'm wondering sort of how
18 the -- what we're talking about today and the Q reform that
19 the CAISO did and how those are sort of matching up, you
20 know, how does this conversation about sort of distilling
21 the need for transmission, how does that sort of map on to
22 managing all the applications you're getting for
23 interconnection and in different places and, you know, with
24 all sorts of different you know, characteristics and
25 qualities, you know, the hundreds of qualities of each

1 individual project and sort of how you sift through all
2 that and sort of, you know, create the special sauce that
3 says, okay, we're going to do these transmission projects
4 because it matches up to sort of this universe of likely
5 developments?

6 And then I'll just go ahead and ask the second
7 part. Are you -- so you, I think all of you, mentioned
8 1920. Are there concerns about sort of FERC going in a
9 direction or sort of what might happen in this realm and
10 the messaging might sort of not support the California,
11 anyway, risks associated with just, okay, how will FERC be
12 paying attention to this area going forward?

13 MR. MILLAR: Sure, I'd be happy to, and I think
14 just going through the two different questions in turn.

15 First, when it came to the interconnection
16 process, and, yes, Danielle will speak to the details of
17 those changes in a bit more detail later --

18 COMMISSIONER MCALLISTER: Right.

19 MR. MILLAR: -- but I did want to just point out
20 that our interconnection process as it was, was actually
21 relatively successful. And in terms of managing, you know,
22 the original batch cluster study process that was
23 implemented going back now to what 2010 was highly
24 effective, but it was managing tied to the number of
25 applications. It was reasonable for the number of

1 applications we were receiving each year.

2 The changes we had to make were largely because
3 it became, I don't want to say easy to submit applications,
4 but the sheer number of applications skyrocketed in
5 response to what was seen as more opportunity for
6 competition. But it was really about managing the intake.
7 And the fundamental analysis process has actually been very
8 robust behind it.

9 But we also had to make changes because we could
10 not afford to have -- as opposed to what people call the
11 backlog, we were dealing with more of a logjam. So many
12 applications coming in at the same time, it stopped anybody
13 from getting through, and that was just not acceptable. So
14 while the transmission planning, the resource planning, and
15 even the procurement was going well, we did get faced with
16 this logjam of an extreme number of applications, partly
17 because it was also comparatively easy to develop and file
18 an interconnection application for storage projects
19 compared to the amount of work that went into developing a
20 much larger footprint project, like a major solar farm.

21 So that's where we had to make some changes to
22 keep everything else moving. And like I said, Danielle can
23 speak to that.

24 On the FERC Order 1920 side, the interesting part
25 there is many of the changes that FERC is now requiring on

1 a national level are largely things that we have already
2 been doing. Now, they did add a lot of additional detail
3 behind it, additional compliance requirements, thou shalt
4 do this and this and this, as opposed to where we chose and
5 created options. And that's where we do see a significant
6 increase in the amount of analytical workload.

7 But the idea of effective -- you know, the
8 equivalent of a 20-year outlook document, looking out more
9 broadly, better coordination between local and
10 transmission, many of these aspects are things that, I'll
11 be blunt, we are already doing. They're not actually --
12 the sequencing will be changing. The amount of analysis
13 that is required to be done to develop a certain number of
14 scenarios each year, a certain benefit cost analysis is
15 more prescriptive, but the fundamental concepts are things
16 that we were already doing.

17 COMMISSIONER MCALLISTER: Thanks, Neil, and just
18 kudos to your leadership there. I partnered with
19 Commissioner Rechtschaffen on some comments during the
20 process of the development of 1920 and gained a lot of
21 understanding working with him on that, and with the other
22 states, right, who were sort of like a little bit deer in
23 the headlights, and we weren't, you know, we had a lot to
24 work with.

25 So I guess, kind of wondering, well, I'm inviting

1 speculation, so you don't have to answer, but, you know,
2 there's no way to know really, but I think with the changes
3 at FERC, I wonder if this will continue to be a priority or
4 if there'll be consistency, you know? No way to know until
5 we sort of see them make some decisions, I guess, but was
6 kind of wanting to hear any sort of, you know, how we can
7 maintain a high level of immunity to any of those sorts of
8 changes?

9 MR. MILLAR: Well, I would say that when it came
10 to our FERC, the 2023 compliance would underpin the
11 interconnection process enhancements, that was a bit
12 delicate because we were proposing some major changes, but
13 then the foundation got moved out from what we had to this
14 new order. And it was a deliberate strategy recognizing we
15 had to have that filing to be successful and quickly
16 successful. We really aligned our requirements, our
17 compliance filing with the order in as great a detail as
18 possible.

19 With FERC Order 1920, we have a bit more latitude
20 there where there are invitations that if you're doing
21 something that's already considered superior to the process
22 they've laid out to tweak but explain why you're doing it
23 differently, and we think that the emphasis on regional
24 planning is recognized as being a priority regardless of
25 what other issues are going on. There are certainly

1 concerns around how perhaps administration concerns about
2 renewable generation and so on are being handled. But on
3 the fundamental intent that the transmission grid needs to
4 be reinforced and needs to keep up with the emerging
5 requirements, I think we're more comfortable there that
6 we're seeing strong alignment and not expecting, at this
7 point, not expecting any changes on that side.

8 COMMISSIONER MCALLISTER: Great. Thanks. I see
9 we're a few minutes over, so I'll stop there and pass it
10 back to Vice Chair Gunda and --

11 VICE CHAIR GUNDA: Yeah, thank you.

12 COMMISSIONER MCALLISTER: -- I want to say thanks
13 to the panelists. Thanks.

14 VICE CHAIR GUNDA: Thank you, Commissioner.

15 I think we have one question in the Q&A, so let's
16 have that answered and we can go to the next panel.

17 Yeah, do you want to, Sandra, can you --

18 MS. NAKAGAWA: Kelsey's going to jump in here,
19 yeah.

20 MS. CHOING: Okay, I'll read it. So it's from
21 Tatiana Brennan from the County of Santa Cruz, and the
22 question is, "Who can counties contact to learn more about
23 their role in the MOU and the role of CCAs? "

24 VICE CHAIR GUNDA: Go for it, Molly.

25 MS. STERKEL: Yeah, maybe I'll take that.

1 So CCAs are one of the types of load serving
2 entities that participate in the CPUC's integrated resource
3 planning process. And so the CCAs are feeding their
4 information into the CPUC's integrated resource planning
5 process, which happens iteratively. So while there is
6 uncertainty, I'll just mention that the process happens
7 every two years, and so, you know, that gives us an
8 opportunity to adjust as a CCA adjusts.

9 And in terms of counties, so depending on whether
10 or not you're looking at the resource planning side or the
11 resource procurement side, you know, counties can
12 participate as interveners in the integrated resource
13 planning process. They also can interact with both the
14 CPUC and the CPUC -- CEC and the CPUC in our permitting
15 roles and our roles as permitting agencies. Certainly, we
16 work with counties all the time on issues related to
17 permitting.

18 So I would just say that one of the things I hear
19 from counties a lot through the Tracking Energy Development
20 Task Force is just how hard it is that there are so many
21 projects out there. And I thought maybe this is just a
22 little perspective we could end on here.

23 So Neil mentioned it was we had this log jam.
24 There were just so many projects in the queue. Certainly,
25 those projects are knocking on the doors of county

1 officials, which is overwhelming. And so trying to narrow
2 that down to the projects that are more viable is a useful
3 outcome of the interconnection process enhancement
4 initiative.

5 But from a ratepayer perspective, we do like to
6 see competition because we want to have some choice among
7 projects, and hopefully ratepayers benefit from there being
8 multiple projects in the development pipeline so that we
9 don't have to choose only from one project, that we have a
10 number of projects that we can choose so that we can find
11 the most cost-effective project for ratepayers, and so
12 hopefully ratepayers can benefit from that.

13 So I just wanted to mention that I know counties
14 often struggle with the number of projects that they're
15 interested in developing in their area and knowing which
16 one of those are going to actually move forward given all
17 the uncertainties we've already talked about.

18 So anyway, I would -- long story short, I would
19 also direct folks to the Tracking Energy link that's on my
20 last slide at cpuc.ca.gov/trackingenergy, and there are a
21 number of contact names and information there, that's a
22 great place to start, so thanks.

23 MR. SIMON: Thanks, Molly.

24 Kelsey, is that the last question?

25 MS. CHOING: There's one more question from Kanya

1 Dorland at Cal Advocates.

2 "So there is a trend of -- or there's a trend in the
3 U.S. of data centers interconnecting with existing
4 generation or retired generation. Will the joint
5 agencies need to develop a policy to respond to this
6 type of interconnection in California?"

7 MR. SIMON: Who wants to take that, or do we hold
8 it for after the next panel?

9 MS. STERKEL: It's a very interesting question.
10 I was going to say, Kanya, it's a very interesting
11 question. I think your question is kind of getting
12 specifically about generators supporting sort of on a
13 behind-the-meter role. So perhaps that's a more complex
14 question than we have time for in brief time here, unless
15 Neil wants to jump in.

16 MR. MILLAR: Well, it's Neil. The only thing I
17 would just add, though, is that whether it's load
18 connecting behind an existing generator or connecting first
19 and then wanting to have behind-the-meter generation join
20 later, we do see fundamentally that the role of managing
21 load interconnections is first and foremost with the
22 incumbent utility, and that's where they apply and deal
23 with. So I just wanted to get that out in front, because
24 that does require, then, the coordination across those
25 entities to ensure that we have consistent policies. But

1 that is, first and foremost, a load interconnection is
2 still first and center, dealing with the utility in their
3 area.

4 MS. STERKEL: Yeah. It is also worth mentioning
5 that when Sean showed that inflection point in the load
6 growth, I do want to mention that there were a lot of
7 things that went into that inflection point, and we know
8 that load is growing. Perhaps some of the things that the
9 CEC was expecting 6 or 10 years ago have not happened, but
10 then we have AI data centers happening, but that's a
11 completely normal part of the load forecasting process.

12 So I would say that we are well-situated as a
13 state in terms of we have been getting ready and gearing up
14 for load growth, and we're not being caught flat-footed.
15 That it's actually happening.

16 So that's just a point. A question we get a lot,
17 is, you know, are we going to be able to serve some amount
18 of data center load? And I think that there's -- you can
19 save that for the IEPR workshop on load forecasting and ask
20 that question there, but I do think on a very high level,
21 we have been planning for some amount of load growth.

22 MR. SIMON: Okay. Great. Thank you very much.

23 Okay, I'm going to invite our next panel up. And
24 panelists, I think what I'll do is I'll introduce all five
25 of them. We are a little bit behind time, and we can

1 introduce again if needed, if the handoffs are -- don't go
2 as early as we need.

3 So, first, Danielle Mills, who's the Principal of
4 Infrastructure Policy Development at the California ISO.
5 Then Jens Nedrud, Director of Transmission Planning at
6 Pacific Gas & Electric Company, followed by Manuel
7 Avendano, who's the Senior Manager of Central System
8 Planning at Southern California Edison Company. And then
9 from LADWP, Ashkan Nassiri, Assistant Director of Power
10 System Planning Division, and Brian Biering, representing
11 American Clean Power California to represent the
12 development community.

13 So, Danielle, if you are ready.

14 MS. MILLS: Thank you, Sean, and good afternoon,
15 Vice Chair Gunda and Commissioner McAllister. It's great
16 to see everyone and all this interest in interconnection
17 and energization in California.

18 So I'm Danielle Mills. I'm the Principal for
19 Infrastructure Policy Development. And I'm just going to
20 focus on, primarily, on the ISO's interconnection reform
21 efforts for getting projects interconnected to the
22 transmission grid.

23 So I'll start on the next slide by just walking
24 you through what the ISO considers to be a part of its
25 resource interconnection standards. There are multiple

1 sort of steps in the interconnection process, but it's all
2 designed to ensure safe connection of generating and
3 storage facilities to the grid. So we want to make sure
4 that as a project is developed, we can safely deliver that
5 power on the grid when it's needed and during times of
6 stress system conditions in some cases as well.

7 So the first step of this process is the
8 interconnection request and the study process. This is
9 really where interconnection customers have to apply to
10 have a space in the ISO interconnection queue. And that's
11 where -- this is really where I would say the bulk of our
12 reform efforts have taken place over the last several
13 years.

14 The study process is also very important in this.
15 It's, you know, how we provide some degree of certainty to
16 the developers of what their costs will likely be and what
17 the timeline is for development of network upgrades or
18 infrastructure that will be required for them to bring
19 those projects online.

20 The next step of the process is the allocation or
21 retention of transmission plan deliverability.
22 Deliverability is sort of the thing that allows a resource
23 some assurance that it will be able to provide power during
24 times of stress system conditions. So it needs to be
25 studied very specifically by resource to make sure that it

1 will be able to count on that resource for resource
2 adequacy at times when we need it most.

3 Then, kind of in parallel with the transmission
4 plan deliverability allocation process, projects move
5 through contract development and sign interconnection
6 agreements. And then once interconnection agreements are
7 signed, it moves through to the queue management phase,
8 which is where the ISO really tracks and monitors projects
9 that have been in the queue, have signed GIAs, may have
10 obtained deliverability allocations, and are just kind of
11 hitting milestones. And there's a series of milestones
12 that projects have to demonstrate their ability to meet in
13 order to remain in the queue.

14 And then finally, we have new resource
15 implementation, which is kind of the final step where
16 projects enter and compete to -- enter and complete a
17 series of steps to ensure deliverability and, you know,
18 safe operations so that we can sort of test these projects
19 before they are actually incorporated and interconnected to
20 the grid. So that involves the steps of syncing and
21 running trial operations, and then ultimately results in
22 that project coming online and participating in the market.

23 Next slide, please.

24 So here is the requisite MOU slide. I do think
25 while it has been maybe somewhat redundant to stakeholders

1 today, I think that's a good thing. I think, as Sean said,
2 this is really a lot more in practice than some of these
3 simplified graphics may suggest.

4 But the pieces that I want to highlight in the
5 MOU process for the interconnection process at the ISO in
6 particular really fall after transmission. So I think
7 previous panel did a great job of highlighting particularly
8 the planning connections that happen and the handoffs from
9 the CEC's demand forecast to the Public Utilities
10 Commission's resource plans in the IRP and how that factors
11 into the ISO's transmission planning process. But then
12 there are additional linkages to the procurement process
13 with load serving entities and the interconnection process
14 embedded in this MOU as well.

15 So when the transmission plan is approved every
16 year, the ISO identifies zones and looks at areas where
17 there will be then planned and available transmission
18 capacity. Those zones then suggest to load serving
19 entities the best locations for new procurement and new
20 project development. And so interconnection customers can
21 look at our transmission plan, look at some of the data
22 that we provide, and get a better sense and more clarity
23 and certainty of the best areas for resource development
24 based on these great planning inputs from the agencies and
25 then know that they'll have a higher likelihood of success

1 or potentially prioritized projects because of the
2 interconnection reform that we've implemented. So the
3 zones are really important from the transmission planning.

4 And then we're also -- we now include an
5 opportunity for load serving entities to actually
6 participate in the interconnection review process and sort
7 of put support behind individual projects that LSEs think
8 they may have some interest in building and -- or
9 contracting with, rather than building. And so that can
10 help those projects then move into the study process so
11 that the products that the LSEs are interested in have a
12 higher likelihood of success in achieving commercial
13 operation, which helps for procurement and contracting on
14 the other side of the interconnection study process.

15 I also want to mention here that while this slide
16 doesn't expressly mention local regulatory authorities, we
17 also have a process in our transmission plan where we
18 incorporate the needs of different local regulatory
19 authorities as well, so that we're making sure that we're
20 getting kind of an ISO system wide perspective of the needs
21 for transmission and we allow -- you know, we participate
22 with LRAs in the interconnection process as well and allow
23 non-CPUC jurisdictional LSEs to participate in the
24 interconnection process and the supporting as well. So
25 just wanted to make sure we didn't miss that.

1 Next slide, please.

2 So some of our changes were really the
3 highlighted, the need for these changes were really
4 highlighted in 2022 and 2023. At that time, CPUC had just
5 put out a couple of new procurement orders, quite large
6 procurement orders compared to what we had seen in the
7 years prior to that. And, you know, there was a SB 100
8 study report that indicated that we might need to see
9 something like seven gigawatts of new nameplate capacity
10 coming online every year to achieve our policy objectives.

11 So there was this significant rush of interest
12 into the ISO interconnection queue, which resulted in
13 Cluster 14, which was the ISO's first, what we called super
14 cluster, where we had, you know, more than double the
15 amount of projects than we had received in previous
16 clusters, which really not only was time consuming for the
17 ISO to look through, but I think more importantly, when you
18 study that many projects, the results of those studies lost
19 meaning to individual -- (clears throat) excuse me --
20 individual interconnection customers who were interested in
21 getting information and trying to get some more certainty
22 about their projects.

23 So the goal here -- and when we saw that this
24 trend was exacerbated in Cluster 15, we really came to
25 realize that we needed to get study volumes back down to

1 meaningful levels and manageable levels. And when I say
2 meaningful, we definitely didn't want to just pick a number
3 because we wanted to ensure that we were going to be
4 studying sufficient projects to allow for competition after
5 the studies were complete, competition for procurement, as
6 well as to account for some degree of project failure. If
7 projects decided to withdraw or companies shifted
8 priorities elsewhere, we wanted to account for those. So
9 we focused on trying to reduce studies to a level that
10 aligned with the system need, and the system need was also
11 focused on the transmission plan availability and the
12 availability of existing transmission.

13 So, from there -- we can go to the next slide --
14 we implemented a series of reforms that were really focused
15 on not only reducing study volumes to more manageable
16 levels, but also on queue management, alignment with the
17 state resource portfolios in terms of the types of
18 technologies and the locations of technologies, and the
19 amounts of different types of resources that we would need,
20 and really also focused on project viability.

21 And so, those reforms primarily were packaged in
22 Track 2 of the interconnection process enhancements, which
23 we completed last year in 2024 and was approved by FERC in
24 September of 2024, and then the next day it was implemented
25 with the reopening of Cluster 15 for resubmissions. And

1 I'll share a little bit of the results from that on a
2 future slide.

3 We also, as Neil mentioned, had to comply with a
4 FERC order that came out that we complied with last year,
5 starting in spring of 2024, and was recently approved by
6 FERC in May of 2025. And this was really establishing sort
7 of baseline requirements throughout the country for all
8 transmission providers for interconnection reform. And so,
9 as Neil said, we decided we would just adopt the order 2023
10 requirements pretty much whole cloth, and then build all of
11 our additional reforms on top of that.

12 And then Track 3 of the interconnection process
13 enhancements initiative we completed last, earlier this
14 year and was approved by FERC in June of 2025. That
15 process was more focused on the deliverability allocation
16 process, as well as establishment of a new type of process
17 that we're calling the intra-cluster prioritization. The
18 intra-cluster prioritization was largely driven by Cluster
19 14.

20 Now that we've completed Cluster 14 studies, and
21 you'll recall, Cluster 14 was the first super cluster that
22 we had, so we studied a lot of projects, and as a result, a
23 lot of projects received very long lead times for their
24 infrastructure needs and very high costs. So there was a
25 lot of movement and change within Cluster 14 as a result of

1 those studies. And I think a real desire to get as many
2 projects from Cluster 14 online as quickly as possible,
3 while the others wait for any associated infrastructure
4 upgrades.

5 So that's a process that FERC has recently
6 approved and that the ISO is moving forward with right now,
7 so that we can take, you know, the best projects that are
8 best situated from Cluster 14 and start to move on those as
9 we wait and try to, you know, advance all of the additional
10 infrastructure needs that we are facing in the next 5 to 10
11 years.

12 And then finally, we still have yet to file our
13 deliverability allocation process modifications. We plan
14 to file those in early 2026. They were less urgent with
15 FERC because we don't plan to have another deliverability
16 cycle until 2027. We're going through one right now for
17 Cluster 14, and then we'll skip 2026. So we have some time
18 to present that FERC.

19 Next slide, please. Thanks.

20 And so the reformed interconnection process that
21 I mentioned, the focus was on interconnection request
22 intake to really get to more -- get the best projects
23 forward into the study process, so that we knew we were
24 studying the best of the projects that we were going to
25 need.

1 So we established a cap for the study process at
2 150 percent of the transmission capacity at each zone, and
3 we used the zones from the Transmission Plan. This 150
4 percent value, as I mentioned, was really important to
5 ensuring that we had enough resources coming through the
6 study process to allow for additional competition and
7 potentially project attrition as well. But to get to that
8 cap, we had to filter these projects down. So we started
9 with the order 2023 requirements.

10 In particular, order 2023 requires site control
11 for a certain facility, for all facilities, and so that was
12 a new baseline requirement for projects coming into our
13 queue. Then we released a lot of information from the
14 Transmission Plan and from our deliverability process to
15 interconnection customers so that they could look at the
16 different zones and look at the various locations available
17 for interconnection and identify where they wanted to
18 submit their request.

19 We also prioritized development in areas with
20 available transmission while still allowing for development
21 outside of those areas through the merchant pathway. So we
22 did want to ensure open access here. That's very important
23 and feel that we were able to provide that in the revised
24 process.

25 And then from there, we scored process -- or

1 scored projects based on commercial interest. And this is
2 where load serving entities participated in that process
3 and actually awarded points to individual projects that
4 they were interested in ultimately contracting with. We
5 also looked at project viability and system need indicators
6 for scoring.

7 And then if projects were scored within a zone to
8 get into the study process, we had two tiebreakers that we
9 were ready to lean on to determine which project would
10 advance. The first that we leaned on was the distribution
11 factor analysis and that basically measures the project's
12 impact on the grid at a certain POI, a point of
13 interconnection. We did have a few projects that were tied
14 and the ties were resolved by the distribution factor. We
15 also had a plan to go to an auction if there was still a
16 tie at that point, but we did not have to go to an auction
17 for Cluster 15.

18 So we did manage to get study volumes down to
19 that manageable amount. We still probably need a couple of
20 years to look at this class of projects as they come
21 through to assess the viability and whether these
22 indicators did actually identify the best and most viable
23 projects.

24 Next slide, please.

25 We have some data from Cluster 15 that does

1 suggest that when you look at initial interconnection
2 requests in 2023 for Cluster 15 versus the resubmissions in
3 2024, right after these changes were implemented, we saw a
4 73 percent reduction in the number of individual
5 interconnection requests and an 80 percent reduction in the
6 capacity of the cluster. But we still have 68 gigawatts in
7 Cluster 15, and so we do feel confident that there are
8 sufficient resources, not only in the queue but really in
9 Cluster 15 alone, to make sure that we're able to meet our
10 near-term reliability needs and our long-term policy
11 objectives.

12 Next slide, please.

13 So we are implementing a new -- or we're
14 initiating a new stakeholder process that we're calling
15 Interconnection Process Enhancements 5.0 because it's the
16 fifth Interconnection Process Enhancements initiative that
17 the ISO has held. This is really focused on just
18 revisiting topics that we were asked by stakeholders to
19 look at and to monitor as these changes took effect.

20 You know, these are big changes that the ISO has
21 made, really unlike changes that have been made in other
22 parts of the country or other parts of the world. And
23 there was some anxiety, I think, on all sides about
24 implementing this scale of change. And so we did want to
25 really make sure that we were giving space to look at these

1 issues year by year as we go through each cluster and
2 making sure that we are taking care of any challenges or
3 any new issues that may be emerging as we move through this
4 process.

5 So this is just a sampling of some of the
6 concepts that we're exploring. We actually had a workshop
7 this morning, so I may not believe it because I think we're
8 also running low on time. But some of these do -- I do
9 want to highlight that some of these do include the need
10 for continued coordination and alignment with the state
11 agencies and local regulatory authorities as well,
12 particularly everywhere where there's an interaction with
13 procurement.

14 You know, I think what Neil said is very true in
15 this case. We want to play our positions the best we can,
16 but we don't want to step on anyone's toes. And so we have
17 to respect, you know, jurisdictional roles here and just
18 support one another as best we can as we move through these
19 processes.

20 Next slide, please.

21 And just to emphasize, you know, where we're
22 going, we've seen the need for I think roughly 100
23 gigawatts by 2040 was in the portfolios that Molly showed.
24 We have more than sufficient resources in the queue to meet
25 those. In fact, we still worry sometimes and wonder

1 sometimes that we have too many projects in the queue that
2 are lingering, that we need to find some alternative
3 pathway for either withdrawal or transitioning those
4 resources to some other type of resources or something
5 because there is really still a very large volume of
6 projects in the queue.

7 We would like to see as many of these projects
8 reach commercial operation as possible to satisfy all of
9 California's, you know, policy and reliability needs. But
10 if projects become a hindrance to other projects behind it,
11 then we do need to do something to move those projects out.
12 And so we will be focusing on that in a continued way as
13 well.

14 And then finally on the next slide, I'll just
15 walk through some near-term milestones too. I'll show this
16 slide for two reasons.

17 One, to encourage people to participate in our
18 Interconnection Process Enhancements 5.0, which is in the
19 early stages and that means it's really the best time to
20 get stakeholder feedback on how the process is working and
21 whether there are any changes. We always like to hear
22 those ideas early in the process rather than later because
23 we have more flexibility to actually address them really in
24 the process.

25 And two, I also want to highlight the TPD, the

1 Transmission Plan Deliverability Affidavit deadline of
2 August 29, 2025. We had a market notice go out on this the
3 other day. But I think this is the kind of deadline and
4 the type of process alignment that we've all been trying to
5 emphasize here. I know there's been a lot of focus on, you
6 know, near-term procurement and procurement to meet various
7 commercial milestones and policy and reliability needs.
8 And this TPD affidavit deadline is one opportunity for
9 projects to seek and retain deliverability, which is going
10 to be critical going forward. So I want to make sure that
11 there's just clear awareness of that as we move forward.

12 And with that, I'll stop and see if there are any
13 questions after the other panelists go and just express my
14 appreciation to everyone here today for being part of this
15 and holding on as we go through these changes.

16 MR. SIMON: Thanks so much, Danielle.

17 And there are some questions coming in, in the
18 Q&A. Some of them are probably answerable in writing, so
19 the team can work together offline and get written
20 responses. And then we'll circle back to questions that
21 are coming in and address them again.

22 And I see Jens Nedrud has joined from PG&E, so
23 I'll hand it over to you.

24 MR. NEDRUD: Sounds great. Thank you. I hope
25 everybody can hear me correctly. I'm happy to be here and

1 have the conversation with everyone today. I'm Jens
2 Nedrud, Director of Transmission Planning for Pacific Gas &
3 Electric.

4 And I'll just start by giving an overview of, on
5 the next slide, there we go, an overview of where we're at
6 from a company perspective. I think we've heard today;
7 right? There's a lot of increased need for how we
8 interconnect generation along the way. PG&E is definitely
9 a supporter of ensuring California can meet our energy
10 goals. So we'll talk a little bit about the status of
11 generating interconnection at PG&E, things we are doing
12 right now and implementing to help improve that, as well as
13 some items for continuous improvement along the way.

14 We've heard it a few different times from Neil
15 and Danielle about the really dramatic increase in size
16 that we saw for generator interconnections in the last
17 couple cycles. We've done cluster studies for a long time,
18 but really, Cluster 14 was a tremendous increase in the
19 amount of generators that want to get connected, which is a
20 good thing on one hand and really reflected, I think, a low
21 barrier to entry for a lot of resources. But improvements
22 recently and improvements that we hope continue in the
23 future, try to pare those down within prioritized projects
24 that are really most ready to interconnect.

25 As we continue to see over past clusters, a

1 really high withdrawal rate, a little over 70 percent of
2 the generators that want to interconnect actually follow
3 through that process and get interconnected over time. So
4 the question is: How can we really clean that backlog as we
5 move forward so we can put both the resources, time and
6 energy, as well as the materials towards getting generators
7 connected that are ready to go?

8 If we move to the next slide, PG&E's made a lot
9 of strides this year and last year and improvements to help
10 ensure we can meet the generation interconnection
11 requirements that are needed of customers in a timely
12 fashion. They really fall into four big picture buckets.

13 One of those is some new tools and process
14 enhancements. We've been working with GridUnity to pilot
15 that to help streamline the CAISO intake process in
16 partnership with CAISO and are incorporating that in the
17 new cluster, and I'm pleased with the results. There's
18 always speed bumps along the way with any improvement, but
19 I think we're getting in a really good direction there.

20 The other two pieces I'll highlight is we've had
21 to ensure that we get out of our own way and streamline
22 some of the agreements that we make as we move forward
23 implementing these. So we developed some pro forma
24 contracts for some of our engineering procurement
25 agreements, and also worked through ensuring that projects,

1 once they're started, continue to move forward, even if
2 some of the procedural contractual parts delay, because
3 stopping and starting a project wastes more time than
4 really is beneficial. So those have been helpful to keep
5 things on schedule as we move forward.

6 The other big area has been long-lead materials.
7 It's not only a problem for us, it's a problem across the
8 country and really globally. The demand for transmission
9 materials has skyrocketed, and so we have been really
10 revamping how we both authorize and bulk order materials
11 and broadening our supply chain. Circuit breakers, in
12 addition, and transformers, lead times have dramatically
13 increased, so you need to buy more of those sooner, and
14 we've been working through that.

15 The other, I think, gem that's been found is
16 working with developers along the way that have already
17 pre-negotiated manufacturing slots, and how can we take
18 advantage of those along the way through our process. So
19 that's helped at least reduce some of the lead time for
20 materials.

21 As I mentioned earlier, the high amount of
22 analytics required to develop solutions, not only solutions
23 that are, so to speak, plug and play new infrastructure,
24 but also those that might rely on grid-enhancing
25 technology, it takes a lot more analytical power to make

1 that happen. So we have broadened our resources to support
2 the increase in demand, starting up a dedicated engineering
3 team to support some of the substation interconnection
4 engineering, as well as broaden our generation and load
5 interconnection planning teams to be able to more nimbly
6 support the work and the studies that are needed to get
7 this out in a timely fashion and identify the right
8 solutions for customers, and then be as cost-effective as
9 we can with the right infrastructure upgrades.

10 The fourth one is the capacity delivery center.
11 If we move to the next slide, that has really been an
12 opportunity for us to really help facilitate getting
13 projects done for customers in a timely fashion across our
14 entire portfolio, but a lot of emphasis on the customer-
15 driven programs around the generation and large load area.

16 It has started and is withstood up at the PG&E's
17 Oakland general office, and it really brings together all
18 the stakeholders from across the company to make sure we've
19 got visibility of this portfolio of work. It looks like a
20 massive control center with boards everywhere highlighting
21 the entire process from end to end on what's happening with
22 the different delivery projects, what's going well, what's
23 falling behind, how can we work together to catch up on
24 those that are falling behind and produce the right
25 mitigation plans in place to help move forward with that.

1 It's also held as a great lean operations hub, so
2 we can visualize that process from end to end and work on
3 ways to improve efficiencies. And it has really helped us
4 transition and accelerate a lot of projects, helping to
5 beat those in-service dates promised to customers in
6 previous clusters.

7 Moving to the next slide, there's also been a
8 number of other improvements that we've made, and many of
9 these in partnership with CAISO, as well as ourselves. One
10 of those is really in bringing transparency to site
11 selection. So that starts with heat maps that CAISO has
12 implemented as part of the FERC Order 2023, and also as
13 part of their interconnection process enhancements to help
14 drive generators to places where the transmission capacity
15 is available to support them.

16 I think the other big -- we've gotten a lot of
17 positive feedback from it, it's been a win-win for both
18 PG&E and customers, really developers, has been a Developer
19 Forum where we provide updates on what are the in-service
20 dates and what are the projects we're moving forward with,
21 how are we making the right improvements and driving
22 towards on-time delivery for those in-service dates, or
23 explaining why things have slipped and are delaying in a
24 very transparent way. I think that's really helped to gain
25 trust on both sides so everything's moving forward as

1 quickly as possible within the confines of what we can all
2 control.

3 The second big bucket is how do we mitigate
4 short-circuit duty; right? As we are investing in a much
5 more robust 500 kV network, we have a lot of challenges on
6 how can we make sure the equipment continues to support
7 that moving forward.

8 One of the pieces we have put into place is
9 really ramping up and are really only buying breakers that
10 handle high short-circuit duty and are able to meet that
11 standard. That's specific across our 500 kV circuit
12 breakers. And in a time when long lead items like breakers
13 are difficult to come by, ensuring that we are thinking
14 about the future and ensuring they're ready and robust
15 enough to deliver what's needed is really important to
16 making sure we can deliver in the meantime.

17 In terms of advanced technologies, right,
18 there's, of course, GETs, but those alternative
19 transmission technologies are important to us, both to find
20 the right solution for customers and to make sure we're
21 using costs to be as cost-effective as possible. We, of
22 course, continue to value advanced conductors, and it
23 definitely has a sweet spot that we have identified to help
24 increase capacity on existing lines where possible.

25 Power flow controllers are another great

1 technology that we are investing, investigating, and in
2 process with the project now, as well as some tower raises
3 to try to identify. When you're looking at incremental
4 capacity, there's some great cost-effective tools to do
5 that while making sure you've got the analytical power to
6 be able to study that in the time frame required to make
7 sure we get back to customers on these cluster timelines.

8 The other two buckets, and these are really, in
9 some ways, cutting-edge and technology and tools, we're
10 partnering with a number of different, I think, developing
11 partners to figure out how we can automate some of the
12 generator model validation, some of those pre-study work
13 and get simulations visualized in a quicker fashion, as
14 well as ramping up to cloud-based platforms so that our
15 turn times on studies, again, ways to make that analytical
16 process more efficient so we can spend more time developing
17 the right solutions for our customers in a cost-effective
18 way, which is really what generating customers are going to
19 want, lower the cost to entry, and that helps everyone get
20 more resources online.

21 So those are some of the ways we're streamlining
22 things.

23 If we go to the next slide, I touched base on
24 this already a little bit in terms of advanced
25 technologies, but just to -- one of the really important

1 pieces to making this more efficient is how can we scale
2 this up? I think there's still a gap that we are exploring
3 ourselves as we're piloting projects. What's the real true
4 cost of advanced conductor upgrades across the system and
5 as well as power flow controllers? How can we pilot that
6 to look at other technologies like dynamic line ratings?
7 It all gets great incremental capacity. Of course, what's
8 the real true cost and where's the sweet spot for is that
9 just greenfield projects, or are those also on rebuilds and
10 upgrades? And when is the right time to make that kind of
11 investment on behalf of customers looking for both reliable
12 service, but also to get generators interconnected as
13 quickly as possible?

14 Let's move to the last slide that I've got to
15 touch base on, at least my portion of the panel, looking
16 forward on what are some of the key improvements that we
17 need to make to streamline the process as existing queuing
18 and beyond. I think we've heard from Daniel and others at
19 CAISO. They've made great strides, and I really applaud
20 their efforts in their interconnection process enhance
21 improvement. I think it's helped with Cluster 15, and I'm
22 hoping future clusters, to streamline that and bring the
23 most ready projects to the forefront so they can really be
24 evaluated and move forward.

25 What we're seeing as part of the bigger

1 longstanding issue is how do we clean up the backlog that's
2 already been approved in Cluster 14 and previously?
3 There's about 30 gigawatts in PG&E's cluster that's in that
4 state. And so some of those, how can we eliminate those
5 that are parking in the queue, those that have been sitting
6 there for one to two years without moving forward
7 incrementally? And part of the concern is if those
8 projects drop out or decide not to continue for some
9 reason, it has a ripple effect to future projects, both
10 from a study standpoint and how you fill up those upgrades
11 or spread those costs to others. So that's a really
12 important piece of clearing it up.

13 We're also very supportive of any enforcing any
14 additional financial commitments requirements that we have
15 on today and future clusters to try to make sure that
16 commercial past projects are really ready to implement and
17 ready to get interconnected. And that also includes
18 financial security postings to ensure that projects that
19 are really ready to commit can move forward.

20 We've talked already a little bit about how we
21 streamline study timelines. I think there's been great
22 improvements, but there's more work to do on those past
23 projects to ensure that that backlog is cleared up. I'd
24 really like, and great to Danielle, to talk about how
25 they've looked at narrowing down the scoring system along

1 the way. So we're excited about that piece and really
2 bringing through projects that are ready, but the right
3 amount of ready projects to the forefront on planned
4 transmission capacity per zone, so that's been a great
5 enhancement along the way.

6 I think the last piece that we'll highlight,
7 we've noticed and it's been a big thing for our developer
8 customers along the way, that continuous communication to
9 make sure they are up to speed on what they really need,
10 what their flexibility is or isn't on their projects, and
11 how we can both work together to meet their timelines and
12 resolve issues practically has been a really important
13 piece of the partnership we've had with customers to ensure
14 we can continue to support California's clean energy goals
15 and get these resources online as quick as possible.

16 With that, I'll wrap up my portion, and I'll hand
17 it back to you, Sean. Thanks.

18 MR. SIMON: That's great, Jens. Fantastic job
19 covering that and love ending on the communication piece.

20 Manuel, if you're with us, please turn on your
21 screen.

22 MR. AVENDANO: Hello, everyone. Thank you for
23 the opportunity to speak today on behalf of Southern
24 California Edison.

25 Next slide, please.

1 So at SCE, we've been working on several
2 initiatives to make grid interconnection smoother, faster,
3 and more resilient. There are five key efforts listed on
4 this slide, but in the interest of time, I'm going to focus
5 on the first two. I think these are where we have made
6 some of the most impactful recent progress.

7 The first is our commissioning procedure for
8 inverter-based resources. This is all about consistency,
9 making sure every project goes through the same rigorous
10 checks so we can verify compliance, confirm that the models
11 match reality, and address any issues before projects come
12 online.

13 The second one is a recently established intra-
14 cluster reliability network upgrade authorization process.
15 In simple terms, it lets the most ready-to-go projects use
16 the grid capacity we already have, so instead of waiting
17 years for long-lived reliability upgrades. That means
18 getting clean energy connected faster and without
19 compromising reliability.

20 The other three items, work order improvements,
21 advanced procurement, centralized remedial action schemes
22 enhancements, those were discussed in detail at April's
23 Transmission Development Forum, so I won't revisit them
24 today.

25 So let's dive into the commissioning procedure.

1 Next slide, please.

2 The purpose of the commissioning procedure is
3 straightforward. We want to give interconnection customers
4 clear, consistent instructions for how to test their
5 projects before interconnection. This way, everyone's
6 working from the same playbook, right, whether the project
7 is connecting to our transmission or our sub-transmission
8 system. The objective is to make sure two things happen
9 before a project goes live. First, that the plan settings
10 meet all of SCE's performance requirements, and second, the
11 models the customer has provided match the equipment
12 installed in the field. That's critical because accurate
13 models are the foundation for reliable planning and grid
14 operations.

15 In terms of scope, this applies to any inverter-
16 based resource project that's 20 megawatt or larger and
17 seeking to interconnect at voltages above 50 kilovolts.
18 Ultimately, this procedure is about avoiding surprises, so
19 when a project is energized, we know it will perform
20 exactly as expected. That's right.

21 Next slide, please.

22 So once a project enters our commissioning
23 process, we make sure it goes through a set of key
24 performance tests. The goal of all this is to verify that
25 the facility can operate exactly as required under real-

1 world conditions.

2 We start with the voltage reference step and the
3 system voltage step test which checks how the automatic
4 voltage regulator responds both to changes in its own set
5 point and to actual changes in system voltage. So that's
6 where we confirm the plant can meet our voltage and
7 reactive power requirements.

8 We also look at run rate to verify that the plant
9 can adjust its output up and down within the required time
10 frame.

11 We also look at reactive power capability to
12 ensure it can supply reactive power within the required
13 power factor range while maintaining rated active power.

14 Primary frequency response is another critical
15 one. This measures how quickly the plant senses frequency
16 changes and adjusts output to help stabilize the grid.

17 And lastly, for battery storage projects, there
18 is a restricted charging/discharging test which confirms if
19 the system can limit charging or discharging to the levels
20 identifying interconnection studies.

21 So why does this matter?

22 We've seen that inconsistent or incomplete
23 commissioning can lead to delays, retesting, and post-
24 energization performance problems, so we're trying to help
25 everyone with standardizing the process so connection

1 customers know exactly what's expected or teams can plan
2 resources more efficiently, and the CAISO can count on, you
3 know, accurate operational performance from day one.

4 Next slide, please.

5 We view these not as just one-time improvement,
6 but it's a living procedure updated as technologies evolve,
7 as we gain operational experience, as we continue to
8 coordinate with the CAISO and, you know, the other
9 utilities to establish regional consistency. Version 1 of
10 this document was published last year, and version two
11 should be posted within the next few weeks, so this is a
12 publicly-available document in case people want to, you
13 know, start looking at it, and obviously available to all
14 of interconnection customers.

15 Next slide, please.

16 So our second focus area addresses a different
17 bottleneck, how to let the most ready projects move forward
18 sooner, even when the network upgrades are still pending.

19 So with a little bit of background, within a
20 CAISO interconnection cluster, multiple projects often
21 depend on the same reliability network upgrade. So
22 traditionally, these projects will have to wait until the
23 upgrade is complete, even if the grid could temporarily
24 accommodate some of them without violating any reliability
25 criteria. So the intra-cluster prioritization process is

1 changing that.

2 So working with a CAISO scoring framework, we are
3 conducting studies to identify which projects have eligible
4 reliability network upgrades, can use existing available
5 capacity for alert interconnection, and which ones, as
6 well, are most development ready and can be safely
7 integrated ahead of long lead upgrades.

8 For example, as you can see summarized in this
9 table, in Q-Cluster 14, we've identified multiple projects
10 in areas like Devers, Serrano, Pardee, where earlier
11 energization may be possible. So this is not a blanket
12 first-come, first-served approach. I think this is -- we
13 see this as a structured prioritization that balances a
14 couple of things, developer readiness, available system
15 headroom, right, and our obligation to maintain reliability
16 for all customers.

17 This is an ongoing opportunity, right, an
18 opportunity to refine our technical screening criteria to
19 coordinate closely with a CAISO on identifying temporary
20 operating limits or mitigations, and to work with
21 interconnection customers so they can align project
22 schedules with some realistic prioritization outcomes.

23 So in closing, both efforts, the IEPR
24 commissioning procedure and the intra-cluster
25 prioritization, both have the same auxiliary

1 interconnections without confirmation of safety and
2 reliability. We know that all these interconnection
3 challenges cannot be solved by one utility or regulator or
4 the CAISO alone. I think we all agree that the key is
5 coordinated, transparent, adaptive processes, right, that
6 evolve with technology, policy, and the aggregates
7 themselves; right?

8 So, we are committed to continue this work,
9 sharing lessons learned, collaborating with CAISO, PG&E,
10 SDG&E, other utilities, all the stakeholders here today, so
11 to ensure that clean energy resources can connect to the
12 grid as quickly and as reliable as possible.

13 With that, I thank you. Thanks, everyone, and I
14 look forward to the discussion. Thank you.

15 MR. SIMON: Thank you, Manuel.

16 Ashkan Nassiri will join us next from LADWP.

17 MR. NASSIRI: Thank you, Simon.

18 Good afternoon. Happy to be here. Ashkan
19 Nassiri, Assistant Director of Power Planning for LADWP.

20 Next slide, please.

21 So before I dive into today's topic from the
22 perspective of I think, the only publicly owned utility
23 here, I'd like to start with a quick overview of our power
24 system. DWP is a vertically integrated utility. We serve
25 over 4 million customers in Los Angeles and Owens Valley.

1 We are also a balancing authority, and the City of Burbank
2 and Glendale are part of our BA.

3 We own and operate our generation, transmission,
4 and distribution system. We have about 10,000 megawatts of
5 generation, a little bit over 4,100 miles of transmission
6 system, and about 11,000 miles of distribution system. And
7 to put things in perspective as our size in terms of
8 capacity, we hit our all-time peak demand of about 6.5
9 gigawatt back in 2017.

10 Next slide, please.

11 Our story is a little different here. Unlike the
12 others that presented here today, our generator
13 interconnection requests are processed in a serial fashion
14 at this time. With the sheer number of interconnections
15 requests that are coming in, especially with every utility
16 pushing hard to meet RPS goals, the traditional serial
17 process isn't cutting it anymore, and the projects are
18 stuck in queues for years before they're even studied. And
19 when one dropout, one project drops out, it triggers a
20 whole chain of restudies, which slows down everything even
21 more.

22 On the technical side we have run into some
23 challenges. Sometimes some of the models that we have
24 received from customers are incomplete or inaccurate, and
25 sometimes they show up late, and that makes the process

1 even less efficient. But LA is transitioning to cluster
2 study this year, by end of this year. Frankly, we are very
3 excited about it as we move to cluster study, but we are
4 expecting some of these issues to stick around. We saw
5 earlier presentation from a Daniel CalISO and PG&E. I
6 think they're on the fifth round of cluster improvement.

7 Next slide, please.

8 So as I mentioned we are working on shifting our
9 current serial interconnection process to a cluster-based
10 approach. As we do this transition, we are looking at
11 dividing our system into two or three key areas. And all
12 these areas, as you know, will be studied at the same time,
13 all concurrently.

14 One thing to mention: whenever we need to make a
15 change to our open access transmission tariff, like this
16 case, moving forward to the cluster-based approach, we have
17 to go through a series of approval, which includes our
18 Board and the city council. And that can -- as you can
19 imagine can slow things down a little bit.

20 Next slide, please.

21 So we are really excited about improving both
22 efficiency and transparency of our interconnection process.
23 There are a few key features that we are hoping will make
24 this transition smoother and more effective for our
25 customers. Some are lessons learned from the years of

1 experience that CalISO and some other BAs and utilities
2 have with cluster studies.

3 First we are moving towards a single annual
4 application window for both small and large generator
5 projects. That should help streamline how we intake and
6 plan for new projects. Instead of advancing projects based
7 on when they apply, we are prioritizing based on readiness,
8 things like technical completeness, site control,
9 permitting status, things that are tangible and can ensure
10 a higher chance for a project to go forward.

11 We are also raising the bar at the submission
12 stage. Applicants need to meet stricter criteria upfront,
13 and we are hoping that should help improve the quality of
14 our study and cut down on the speculative projects, which
15 usually don't move forward.

16 Another service that we are offering is
17 informational studies. This is designed for early-stage
18 non-binding studies. It's meant to help customers and
19 developers assess feasibility of their projects before they
20 commit. The ultimate goal is to reduce late-stage
21 dropouts. We'll see how that works out in practice, but
22 this is something that we have in our cluster.

23 And finally, we are introducing some financial
24 incentives, basically for dropping out after the study has
25 started. Again, we are hoping that enforces the better use

1 of our resources.

2 Now while the cluster study approach is designed
3 to improve efficiency and reduce repetitive work, it does
4 come with its own set of challenges, as we heard earlier,
5 for both us, the utility, and the interconnecting customer.

6 Next slide, please.

7 So even though -- the one down here -- so even
8 though DWP isn't under FERC jurisdiction, we still follow
9 FERC pro forma process for large interconnection process,
10 and we adhere to FERC's timeline for this process. Now,
11 with our revised cluster process, we have added some extra
12 layers of accountability, which include new posting
13 requirements to our OASIS and reporting obligation to our
14 board, especially around study completion time and if
15 there's any delays.

16 It's worth noting that we have been handling
17 interconnection using serial process for over 20 years. So
18 moving to cluster-based approach is a big shift for us.
19 It's going to take training and additional resources to
20 make this transition work for us, and right now we are
21 facing a very steep learning curve and our staff are still
22 building expertise. And we are also planning to fully
23 transition to FERC order 2023 cluster process within the
24 next two to three years.

25 One of the biggest challenges that we have faced,

1 I mentioned, is -- and I'm sure that we will continue to
2 face is complex grid modeling. A lot of time models that
3 we have received, they were incomplete, inaccurate, or they
4 arrived late. Some of them can be addressed with the new
5 cluster, but the accuracy of the models and some other
6 issues might still linger. That really slows down our
7 study process, and that really shines when you study large
8 number of projects at once, especially newer technologies,
9 hybrid storage, advanced inverters that can create a lot of
10 challenge.

11 Another major issue is availability of capacity.
12 We heard from other panelists. They talked about short-
13 circuit duty, raising towers. We are seeing some of those
14 in our transmission systems. With high level of
15 distributed or renewable generation, we are running out of
16 headroom on our transmission systems in the area that are
17 basically congested. That means we are looking at building
18 new lines, upgrading existing lines, and replacing long-
19 lived equipment like breakers, disconnect switches,
20 transformers.

21 And the other problem that we are seeing and our
22 customers are seeing is this type of work, it requires
23 outages, and sometimes long-term -- long-time outages.
24 Most of the time, especially during summertime, is really
25 hard to schedule, and in some cases is not feasible, and

1 that really contributes to the delays for getting renewable
2 projects to commercial operation dates.

3 And finally there is affected system studies. We
4 get these from neighboring utilities and balancing
5 authorities, from NVE, APS, CalISO, SRP. We have vast a
6 transmission system, and we have multiple neighboring
7 utilities. And with this transition, we don't expect that
8 to go away. In fact, because of the recent changes in ITC
9 and PTC, we are expecting to see even more interest in
10 moving those projects forward in a shorter period of time,
11 which requires even more resources from us.

12 Next slide, please.

13 I wrap up my presentation. I know we are running
14 out of time. These are some of the links for our OASIS for
15 transmission tariffs on our queue posting.

16 Thank you.

17 MR. SIMON: Thank you very much.

18 Brian Biering.

19 MR. BIERING: Thank you, Sean. Am I coming
20 through okay?

21 MR. SIMON: Perfectly clear. Thank you.

22 MR. BIERING: I'm Brian Biering with the American
23 Clean Power Association of California. We represent the
24 interests of utility-scale solar, wind, geothermal storage,
25 and independent transmission developers. I'd like to thank

1 you, Sean, and the rest of the IEPR team, as well as Vice
2 Chair Gunda and Commissioner McAllister for having us today
3 and attempting to account for the perspective of generation
4 storage developers in this iteration of the IEPR.

5 I'm not going to belabor all of the improvements
6 in the process, but I do want to acknowledge them. Molly's
7 presentation hit on a number of these. The memorandum of
8 understanding and a number of the improvements in the
9 context of creating greater transparency really have been
10 extremely helpful to the generation and storage community
11 since the last iteration of the IEPR. There were -- you
12 know, several years ago, there was a point in time when we
13 were seen being surprised by massive delays in network
14 upgrade development timelines that were jeopardizing
15 projects, and at least at this point I think we have a much
16 better understanding, but as you'll see in my presentation,
17 there is still quite a bit of work to do, particularly on
18 the transmission development and execution side of the
19 equation to really move this forward.

20 The reason I wanted to make this presentation
21 today was really to flag how network upgrade delays can
22 affect the development of clean energy and storage
23 projects. They can -- you know, for resource adequacy
24 compliance, that's a key demand of the state. It can
25 completely derail a project. You can't sell resource

1 adequacy if you don't have deliverability.

2 There's also a need to get a handle on maximum
3 import capability. And so these are projects that are
4 outside of the CAISO, they're trying to import into CAISO,
5 and they're completely reliant on network upgrades being
6 developed on time in order to get their maximum import
7 capability allocations and in turn sell resource adequacy.

8 Network upgrades can also affect the delivery of
9 renewable energy. Even when a project has met its
10 interconnection timelines, it can still face significant
11 hurdles with respect to curtailment on the system. Without
12 those network upgrades, we see that curtailment rise in
13 certain parts of the transmission system.

14 So really getting a handle on making sure that
15 we're doing everything we possibly can to mitigate
16 transmission delays is really what we wanted to try to
17 focus in on today and provide a few recommendations for the
18 CEC's consideration of this part of the IEPR.

19 Next slide, please.

20 So I'm not going to -- I know we're short on
21 time, so I'm not going to spend a lot of time reiterating
22 Molly's slide. This came from the SB 1174 report, which
23 basically was a requirement for the investor-owned
24 utilities report on transmission delays in the context of
25 their RPS plans. This was from the second iteration of

1 those reports, and as you can see in the graph in the far
2 right, the majority of projects are still facing delays or
3 are at least at risk of facing significant delays.

4 Next slide, please.

5 We see a lot of different reasons for delays.
6 This slide basically categorizes a number of the reasons
7 that at least PG&E and Edison offered for why they were
8 seeing delays in transmission development.

9 I do want to highlight one in particular that is
10 in Edison's presentation, which is on the far left, and
11 that is customer action. When we saw this, we were trying
12 to say, was it really the interconnection customers that
13 drove all of these delays? And, you know, while this
14 reporting category as we understand it did account for
15 customer actions -- for example, an interconnection
16 customer can submit a material modification assessment and
17 that can delay network upgrade development when they try to
18 change their project -- what was also accounted for in this
19 category were other actions by, for example, other
20 transmission owners. So for example, Ashkan just flagged
21 that affected systems issues are a key challenge in their
22 private planning process, and that is true across, you
23 know, all of the different balancing authorities that the
24 CAISO has to work with in terms of trying to make sure that
25 when interconnection customers are coming online, that

1 they're not adversely affecting other systems.

2 And in that category in particular, there was a
3 significant project that we thought was a good example of
4 this issue. It was the Lugo-Victorville project, which was
5 originally approved in the 2016-17 TPP, and has basically
6 been subject to about 10 years of delays beyond the
7 original in-service development timelines, the most recent
8 of which were largely driven by, as we understand it, the
9 affected systems issues with LADWP. There's 17 projects
10 behind that affected system, approximately 6.5 gigawatts of
11 nameplate capacity that is being delayed, and roughly 8.8
12 gigawatts of total generation projects when you account for
13 the projects that are relying on that particular
14 transmission project for reinforcement.

15 So the point of this slide is really to show that
16 there are a lot of different reasons for delays. There's
17 not one reason, but really understanding it, creating more
18 transparency in the process, as you'll see in some of our
19 recommendations, really creating more accountability in the
20 actual construction development part of the process is key
21 for future development.

22 Next slide, please.

23 One of the other developments that was
24 implemented since the last IPA was the Transmission
25 Development Forum, I think Neil touched on this a little

1 bit, and Jens did as well, and we agree it is a very
2 helpful process, but what we can see here -- and I'm not
3 going to go through every single project that we've tried
4 to account for -- but what we do see here is that each
5 cycle we're continuing to see delays basically kind of
6 building up on themselves. And so while it's great to get
7 data, more frequent data, regarding the scope of delays,
8 that does help generation and storage developers really
9 kind of account for where their projects are and what risks
10 they may face in terms of actually executing on their power
11 purchase agreements, we really need more in terms of
12 actually getting behind those delays and understanding
13 what's driving those delays, making sure that as between
14 transmission development forum cycles, we're really taking
15 a look at whether there were delays reported in the last
16 cycle and whether those causes of delays have actually been
17 rectified or if we're just continuing to report on more
18 delays.

19 Next slide, please.

20 So I'm going to touch on a few of these
21 recommendations. I did coordinate with a few of our other
22 panelists and had a few others which we'll put into written
23 comment, but I think that first and foremost -- and I think
24 one of the participants asked a question about this, about
25 data centers and other massive load growth. We are seeing

1 massive load growth, but at the same time, as hopefully
2 you've seen from my previous slides, there's still a lot of
3 work to be done, and we really need to focus on making sure
4 that the utilities are able to prioritize the projects that
5 have already been approved before we're taking on massive
6 new endeavors to, you know, interconnect new load or, you
7 know, even improve new transmission projects, that we're
8 getting on top of the ones that have already been approved.

9 I think in the context of implementing the
10 memorandum of understanding, that certainly has provided a
11 lot more transparency into the process and has made it
12 easier for developers to identify where on the grid they're
13 more likely to, you know, be able to interconnect or timely
14 interconnect. We are still seeing these ongoing delays,
15 and we believe that it's important in the context of that
16 process of implementing the memorandum of understanding to
17 really start to make more conservative assumptions about
18 in-service deadlines and start to account for the reality
19 that we are still seeing those delays.

20 As Molly's slide showed earlier, there's still a
21 massive amount of work to be done, and it's our belief that
22 we're not going to see -- you know, we're going to continue
23 to see these delays going forward, and so we really need to
24 be proactive in how we're accounting for those delays in
25 the context of the planning process.

1 We're also recommending that the CEC and CPUC
2 work together to consider basically the assignment of an
3 independent transmission construction monitor to really
4 focus on the biggest projects, projects that are serving
5 more than a gigawatt of interconnection need. We think
6 that, you know, while there's been great progress in terms
7 of creating more transparency in the system and accounting
8 for delays, we really need to have someone, you know, going
9 through all those lists of causes of delays and really, you
10 know, making sure that someone is watching that and really,
11 you know, holding the transmission developers accountable
12 to dealing with all those different delays.

13 The other issues that we've noticed is that I
14 think, you know, that PG&E's reports highlighted this --
15 and I know Edison and San Diego have challenges with it
16 too -- is getting materials online. And this is not at all
17 their fault. You know, here are supply chain issues
18 globally. We are competing -- as someone noted prior, we
19 are competing with other transmission owners across, you
20 know, the United States, globally for major transformers,
21 but we do think that there is opportunity for the state to
22 get ahead of some of those delays and evaluate whether or
23 not, you know, common standards for transmission equipment
24 could be used by all of the investor-owned utilities. So
25 it's not just one standard for each investor-owned utility,

1 but rather all the investor-owned utilities are basically
2 planning their systems with the same type of equipment that
3 perhaps could be purchased, you know, in bulk by the state.
4 So we've encourage the CPUC to look into that.

5 The other item that we would encourage the
6 transmission owners in particular to do in the context,
7 those that are subject to General Order 131E, so the, you
8 know, investor-owned utilities, is when the project is
9 approved in the transmission planning process, there is
10 often -- years that can go by before permits are filed for
11 that project. And we'd really like to see that timeline
12 shortened so that at least we know what's coming when the
13 utility is planning to file their permit.

14 I'm going to stop there. I know that was a lot
15 in a short amount of time, and I'll defer to questions. I
16 know we're short on time. Thank you.

17 MS. NAKAGAWA: Thank you so much, Brian, and all
18 the panelists. We're now going to go to Commissioner
19 McAllister to see if there are any questions from the dais.

20 COMMISSIONER MCALLISTER: I really want to thank
21 all of you. That was great. Danielle, and John, and
22 Manuel, and Ashkan, and Brian. Those were just really
23 great complimentary presentations.

24 A lot of complexity here, and we don't have time
25 to dig into it all, but I want to just say thanks and, you

1 know, just make sure that -- well, we know this
2 conversation will continue, and just that we always -- you
3 know, communication is our kind of best weapon here to make
4 progress. And along those lines, you know, we talked
5 earlier about all the collaboration across the agencies and
6 the evolution of that and the sort of deepening
7 acceleration of the iteration amongst the agencies on our
8 various planning and forecasting efforts.

9 I'm wondering -- I mean, we cannot have, you
10 know, transmission or other balance-of-system issues or
11 process get in the way of accelerated deployment. I think
12 Molly's, you know, message at the beginning of her -- the
13 outset of her presentation is an incredible story, just the
14 accelerated deployment of renewables and storage, and that
15 we've managed to, you know, keep the balance of systems
16 conversation and the availability conversation sort of
17 supporting the build out of supply. Our -- so, you know,
18 in some sense, the more we get the sort of -- the more
19 complexity and sort of the more we try to accelerate, you
20 know, the more little issues or just issues that we're
21 talking about can become bottlenecks.

22 And I'm wondering, sort of, are there other
23 entities, agencies, you know, local regional governments,
24 other -- you know, Brian, you mentioned some of the
25 collaboration that's happening out there in the industry

1 and with the agencies proposing some independent
2 monitoring, for example. Are there any particular
3 relationships that we could do better sort of deploying or,
4 you know, improving, enhancing, developing, that the
5 agencies could help create some of that accountability
6 you're talking about?

7 And let's start with Brian.

8 MR. BIERING: Well, I think that what I would
9 flag is the effective systems issues. And we've seen that
10 across, you know, a number of different projects. I
11 flagged the Lugo-Victorville line as sort of the biggest
12 example. But I think, you know, because the CEC is in a
13 unique position of overseeing both, you know, investor-
14 owned utilities and publicly-owned utilities that operate
15 their own balancing authorities, the CEC, I think, could
16 play an important role in that regard. You know, the
17 effected systems issues from our perspective are really
18 important to grapple with and oftentimes come up very late
19 in the interconnection process, which can lead to material
20 delays, so --

21 COMMISSIONER MCALLISTER: Are these fundamentally
22 jurisdictional or sort of just left-hand, right-hand, or
23 kind of what are the relationships that could sort of solve
24 that, create more fluidity or more synergy?

25 MR. BIERING: I think, you know, I mean, from my

1 perspective, it's getting more information earlier in the
2 process about when -- you know, when there are potential
3 affected systems issues. I think every time I've seen it
4 come up and, you know, delay a project, it's always been at
5 the end of the process. So I think the CEC, while it
6 doesn't, you know, directly oversee balancing authorities,
7 it is nevertheless responsible, for example, taking in
8 integrated resources plans and creating more of that
9 holistic view of the system.

10 COMMISSIONER MCALLISTER: Okay. I'm interested
11 in, Manuel, your perspective on that as -- or actually both
12 IOU and POU, sort of Manuel on the IOU side and Ashkan on
13 the DWP side, sort of maybe start with DWP, sort of how
14 does -- what is it -- how do you react to what Brian's
15 saying in terms of just challenges of deliverability and
16 your surrounding -- your neighbors as balancing
17 authorities?

18 MR. NASSIRI: Yeah. That's a really good point
19 that Brian brought up, Commissioner. Unfortunately, a lot
20 of developers, they come to us very late, so even that they
21 know that they have the LGI in hand few years in advance
22 before the COD, last thing on their checklist is, oh, check
23 with the affected system, you know, the neighboring utility
24 to see if they have any issue.

25 As you know, these studies, they take a long

1 time, and we have a number of those. So when they start
2 reaching out to us one by one towards the end, it creates
3 this bottleneck, unfortunately. And because of the sheer
4 number of these requests, we won't be able to respond
5 quickly. And --

6 COMMISSIONER MCALLISTER: And --

7 MR. NASSIRI: -- in some cases --

8 COMMISSIONER MCALLISTER: Sorry. Go ahead.
9 Finish your thought.

10 MR. NASSIRI: Yeah. I'm sorry.

11 In some cases, if we can determine that there is
12 no negative impact, we would not even do a study and we
13 move forward. But in cases that we anticipate a negative
14 impact or a loop flow or some other issues, then we do move
15 to a study and that can potentially lead to delays for the
16 projects.

17 COMMISSIONER MCALLISTER: Okay. Interesting.

18 MR. AVENDANO: Hello. Can you still hear me?

19 COMMISSIONER MCALLISTER: Yes. Go ahead, Manuel

20 MR. AVENDANO: Yes. Yeah. I think from my
21 perspective, I think with that particular project, I think
22 the lack of oversight or central agency overseeing the
23 collaboration has not been the biggest challenge. I think
24 the biggest challenge with this particular project has been
25 its complexity involving two utilities, right? I think

1 there's opportunities to harmonize the effective systems of
2 both balancing authorities, DWPs and the CAISOs as well.
3 But when it comes to project execution, there has been, you
4 know, a multitude of challenges as well, right? It's
5 coordinating, scheduling the audits necessary to do work on
6 both sides, right? It is a shift in our priorities as
7 well. We have transformer failures that our partners in
8 DWP have to, you know, reprioritize and impact their
9 ability to work on these as well.

10 So there's been -- yeah, this is not an excuse,
11 right? It's been taking a long time. But I think in this
12 particular instance, there has been more challenges on the
13 execution phase. And yeah, if I think about it, it's us,
14 it's SE working with a utility that happens to be as well
15 its own balancing authority, right? So yeah, can the CAISO
16 get more involved from a balancing authority to another
17 balancing authority? Sure. There's I think always room
18 for improvement.

19 COMMISSIONER MCALLISTER: Okay. Interesting.
20 But I guess just to be clear, this is not a question of
21 sort of one developer sort of -- I don't know, I guess I
22 just want to make sure there's no gaming going on. Like,
23 if we can connect some dots and sort of improve
24 transparency to, you know, speed things up, happy to try to
25 do that, or, you know, working with CAISO and what that

1 would look like. Anyway I really appreciate y'all bringing
2 it up.

3 Does anybody else want to comment on that?
4 Probably Danielle, taking the CAISO's name in vain.

5 MR. NASSIRI: If I can add one more. So my first
6 response was pretty generic about the affected system as a
7 whole and the timing as when they come to us.

8 Regarding this particular issue, Manuel mentioned
9 it's a failure of a bank at Sylmar, and that makes the
10 taking outage on Victor Villalobos line pretty much
11 impossible. We are trying to find work-arounds and see how
12 we can improve that line. There are several towers that
13 needs to be raised, there are a number of 500 KV breakers
14 that needs to be replaced, and that requires outage. So we
15 are trying to figure out ways around that outage when we
16 have that bank out and the tie is already overloaded so we
17 can't really take additional outage on the tie between
18 CalISO and DWP.

19 COMMISSIONER MCALLISTER: Okay. I understand.
20 Great. Well, I could ask a few more questions, but I'm
21 going to say, Sean, we should probably end it there because
22 we're already pretty far behind.

23 But yeah, really appreciate everyone's insight.
24 You know, Vice Chair Gunda would also emphasize that. And
25 we appreciate all your effort there and all of your

1 expertise. So thanks a lot.

2 MR. BIERING: Thank you.

3 MR. AVEDANDO: Thank you.

4 Great. Back to you, Sean. Thanks.

5 MS. NAKAGAWA: All right. Well, we normally get
6 audience Q&A. It looks like the one question we have is a
7 holdover from our first panel, and we also just have a
8 comment, so we are going to go on to our last panel.

9 So I'm happy to introduce Matt Coldwell. He'll
10 be leading our panel discussion on distribution level
11 interconnection and energization. Matt is the Manager of
12 the Distribution Planning Branch within the California
13 Public Utilities Commission. Over to you, Matt.

14 MR. COLDWELL: All right. Thank you. So yeah,
15 as Sandra said, my name is Matt Coldwell. I work in the
16 Energy Division at the CPUC. Specifically I oversee the
17 Distribution Planning Branch, where a lot of the efforts --
18 well, actually all the efforts that I'm going to talk about
19 today are conducted, so I just want a quick thanks to Vice
20 Chair Gunda and Commissioner McAllister, and of course the
21 CEC staff for having the CPUC here today.

22 I provided a presentation back in a 2023 IEPR
23 workshop that was also on energization and interconnection,
24 and so my goal today is really to provide a high-level
25 overview and update of the numerous efforts that the CPUC

1 has undertaken and continues to undertake to make
2 improvements to both the energization and interconnection
3 process -- the distribution energization interconnection
4 processes. So really over the last couple of years,
5 energization has been more of our focus, and there are
6 reasons for that that I'll get into.

7 So I do have several slides, and given the time
8 crunch I'm going to try to move through them as quickly as
9 I possibly can.

10 So next slide.

11 So I was glad to hear Hannah actually touch on
12 this early this morning -- or I guess, no, early this
13 afternoon -- really just differentiating between the
14 interconnection and the energization process. I feel like
15 this has been my mantra for the past few years is, you
16 know, these terms can be used interchangeably, but from
17 a -- you know, from a kind of process regulatory
18 standpoint, they are very different.

19 So interconnection is a term used for connecting
20 generation and energy storage to the distribution system,
21 and there are specific tariffs that govern that. So Rule
22 21 is the CPUC jurisdictional tariff, and then the
23 Wholesale Distribution Access Tariff, or WDAT for short, is
24 FERC jurisdictional. These are still projects that are
25 connecting at the distribution system but are wholesale

1 projects.

2 The energization process specifically refers to
3 the connection of customer loans, and so that could be any
4 type of customer load-building, EV charging station, et
5 cetera, and there are a variety of rules that govern
6 energization here. And I'm actually going to get to that
7 on the next slide.

8 So next slide, please.

9 So here are sort of the different rules that
10 apply to different energization projects, and depending on
11 the project, it'll trigger some of these rules, or a few of
12 these rules. So really Rules 15 and 16 are the primary
13 energization rules that are within CPUC's jurisdiction. So
14 Rule 16 are service extensions, and that basically covers
15 the equipment that's connecting the customer to the nearest
16 utility distribution line. The costs are covered by
17 ratepayers through an allowance. Depending on the project,
18 there could be some customer-associated costs there too.

19 Rule 15 is an extension kind of Rule 16. It
20 covers, you know, from the service connection up to the
21 distribution system, and those costs can also be covered by
22 ratepayers through an allowance, and then partly by the
23 customer. It just really kind of depends on the project.

24 Rule 2 is special facilities. These are sort of
25 non-standard equipment installs that a customer is

1 requesting, and these are costs that are covered directly
2 by the customer.

3 And then Rules 29 and 45 are specific EV
4 infrastructure rules that CPUC established a few years ago.
5 This covers utility side-of-the-meter service and
6 distribution service or distribution facilities, and those
7 costs are mostly covered by ratepayers.

8 Next slide.

9 Okay. So this is -- sorry. My computer is
10 having a hard time loading up here.

11 So the Rule 21, the interconnection process, is a
12 much more -- has a much longer history at least of
13 improvements to the process than on the energization side.
14 I'm not going to walk through all this, but you can see
15 over the last few decades there's been quite a bit of
16 effort to the stakeholder process of making improvements to
17 distribution interconnection.

18 And I'll just note these green boxes here at the
19 far right indicating that the proceeding that oversaw a lot
20 of this work, this R170707, just recently closed late in
21 2024, and we do have a new interconnection OIR actually on
22 the CPUC voting meeting this week, and I'll talk a little
23 bit more about that in a second.

24 So next slide.

25 Okay.

1 As I mentioned, a lot of our focus has been on
2 energization over the last couple of years. In large part
3 that's due to a couple of pieces of legislation that were
4 signed into law back in 2023. So these bills came in
5 response to reported significant energization delays by
6 several customers throughout the state, and so this is a
7 high-level summary of the bill. There's lots of components
8 to each of these, you know, that would take up presentation
9 in and of itself, but generally this is called the Powering
10 Up California Act, and it directed the CPUC and the large
11 investor-owned utilities to make various improvements to
12 existing energization and distribution planning processes.

13 And so SB 410 directed the CPUC to define and
14 establish energization -- target energization time periods
15 and develop various reporting requirements to the CPUC that
16 the large IOUs need to, you know, report to us. It also
17 directed the CPUC and the IOUs to make a variety of
18 improvements to the existing distribution planning process,
19 and also provided large IOUs an option if they so choose to
20 use it to request the use of a rate-making mechanism for
21 energization-related costs above their existing
22 authorization, and SB50 was a complementary bill that
23 required us to determine criteria for timely electric
24 service as well as establishing annual reporting
25 requirements.

1 Next slide.

2 So in response to that, we had existing
3 proceedings but also launched new proceedings. That's
4 really put us in a position, you know, to ensure that
5 needed infrastructure is available in the future for
6 customer energization needs. And so across these four --
7 well actually across the three on the left is really the
8 implementation of the SB 410 and AB 50. So distribution
9 planning process improvements have been handled in our high
10 DER proceeding. We've launched a new energization process
11 improvement proceeding that established the timelines and
12 the reporting requirements. And then on the cost recovery
13 mechanism, both PG&E and SDGE filed applications to develop
14 a rate-making mechanism to record and recover energization-
15 related costs. I'm not going to talk too much about that
16 today.

17 And then I've just added this large load
18 energization proceeding here, so -- and I'm going to talk
19 briefly about this at the end of the presentation. It's
20 not specific to distribution. It's actually a new closed
21 role at PG&E service territory for retail transmission
22 consumers. So I'll talk a little bit more about that at
23 the end of the presentation.

24 So moving on. Next slide.

25 I'm going to get into distribution energization

1 first.

2 And so next slide.

3 So timely energization. Why is this important?

4 Well it's important for a lot of reasons, but it's really
5 critical to California's economy and policy achievement.

6 And so there are -- have been over the last few years
7 significant and legitimate concerns about energization
8 delays across all of California's major economic sectors,
9 and so it hasn't been specific to, you know, large EV
10 charging stations or building electrification. I think
11 there's been a lot of concern, you know, across these
12 sectors. We've heard from stakeholders about, you know,
13 the need to satisfy California's policies --
14 decarbonization policies through electrification and their
15 ability to do that, you know, with these types of
16 energization delays, as well as just the presidential
17 projects that have experienced long lead time and
18 capacity -- infrastructure and capacity needs and just
19 creating a delayed energization.

20 Go to the next slide.

21 So as I mentioned, we launched energization OIR
22 in early 2024. And, you know, the primary directives from
23 the two bills were addressed in phase one of this
24 proceeding. We're developing the energization timelines
25 and reporting requirements so we have, you know, in --

1 we'll get to the decision here in a second.

2 So we have completed some of that work. There
3 are a couple of ongoing efforts. We're working on a --
4 what's referred to as a bridging solution specifically
5 flexible service connections, and that's ongoing work that
6 we're hoping to be able to make some movement on here in
7 the near-future.

8 And then PG&E's SB 410 cost cap increase. So
9 it's a reference to the ratemaking mechanism that they
10 requested for energization-related costs that was part of
11 their -- part of their GRC originally, and then they filed
12 a motion to increase the caps that were set, and that's
13 being handled within the energization OIR as well.

14 Next slide.

15 Okay. So the energization timelines decision.

16 So in September 2024, the CPUC approved decision
17 24-09-020. So there's several elements. So this decision
18 implemented several elements of the Powering Up
19 Californians Act.

20 I could spend a lot of time on this slide, but
21 for the sake of time I'm going to try to move through this
22 pretty quickly. So essentially the decision aims to
23 expedite the process for connecting customers to the
24 electric grid. It provides some level of transparency to
25 the energization process. It adopts timelines based on the

1 utility's historic energization data, and it's intended to
2 support early -- so I've heard this a couple of times
3 today -- so early engagement between the customer and the
4 utility to coordinate project development. And so that's
5 kind of a key component here.

6 And then just to be clear here the timelines
7 apply to the large IOU. So Edison, San Diego Gas and
8 Electric and PG&E.

9 Next slide.

10 So part of the decision established what the
11 energization process actually is. So it identified eight
12 steps and identified, you know, what those steps are, and
13 then who shares responsibility for each of those steps.

14 So you can see each of these steps aren't
15 specific to the utility. There is dependencies on the
16 customers to be able to provide appropriate information
17 documentation to the utility so they can process their
18 energization application. I think some of these steps have
19 some co-dependencies, but this is a high-level description
20 of what the energization process looks like, what each step
21 is, and who sort of has responsibility for each step.

22 Next slide.

23 As I mentioned, the decision established
24 timelines for energization timelines. And so what we have
25 here are -- we established average and maximum timelines.

1 So these are in calendar days, right? Yes.

2 So essentially it's 125 business days which is
3 consistent with the EV charging energization rules. Those
4 are business days, so what we're seeing here are calendar
5 days.

6 So essentially for rules 15 and 16 projects and
7 projects that utilize both rules as well as the EV
8 infrastructure rules, the average timeline for utilities to
9 meet or beat is about 182 days, and then the maximum
10 timelines as you can see what they are there for each of
11 those. And as I mentioned, it's consistent with what was
12 adopted previously in electric rules 29/45, but it is based
13 on historical data. So these are achievable timelines on
14 an average.

15 So next slide.

16 Okay. So we also established -- these aren't --
17 I mean, these are timelines but for upstream capacity
18 projects, so you can have an energization project that's
19 requesting, you know, a significant amount of load and
20 those projects can trigger upstream capacity projects that
21 are beyond what's covered in the energization rules. These
22 are really -- you know, some of the long lead time projects
23 that we've heard about are typically because they do
24 trigger one of these types of capacity upgrades.

25 So we've also established the maximum timelines

1 for these. These are -- you know, we're not holding the
2 utilities to these numbers yet because we had kind of a
3 lack of data to be able to establish firm timelines, but as
4 we go forward and we get -- we collect more data from the
5 utilities, you know, we intend to change them.

6 Next slide.

7 As I mentioned, you know, one thing that we're
8 doing now is flexible service connections, and so we
9 consider this a bridge-to-wire solution for customers who
10 cannot currently receive their fully requested capacity in
11 a timely manner.

12 Just in short, you know, the IOs would be able --
13 they are already able are already able to offer a service
14 we're calling limited load profiles. It essentially
15 outlines certain load limits that a customer must adhere to
16 during certain times of the day in the year when the local
17 distribution infrastructure is constrained. So in other
18 words, if a customer is triggering a capacity need because,
19 you know, during the peak times of the year the system's
20 constrained, if they can throttle their energy demands
21 during those specific times, they can -- they're able to be
22 able to get connected to the system earlier until such time
23 their full load request is able to be served through future
24 capacity investments.

25 And so that's being -- so we're considering this

1 in two proceedings. So the energization OIR is having a
2 discussion about firm capacity load profiles and then the
3 high DER proceeding is building a record on kind of the
4 next evolution of that being able to develop more dynamic
5 load profiles to customers.

6 And so speaking of the high DER proceeding, why
7 don't we move to the next slide -- the next one after
8 this -- into distribution planning improvements.

9 And so the primary directives of SB 410 and AB 50
10 that were addressed in the high DER proceeding focused on
11 improvements to the existing distribution planning process.
12 So essentially the existing process -- it's, you know, it's
13 taking a historic change in load growth so a lot of new
14 load through electrification policies and economically --
15 and economic development and trying to, you know, build for
16 that using a fairly reactive and conservative distribution
17 planning process, meaning that distribution planning
18 typically is handled by utility, knowing they're seeing the
19 service requests from their customers and being able to
20 plan that, as opposed to being able to anticipate future
21 service requests based on policies or otherwise. And so
22 this can lead to long time -- long lead time energization
23 delays.

24 The improved process that we're trying to work
25 our way to is to still take that historical change in load

1 growth but utilize a more proactive and transparent and
2 flexible distribution planning process that plans for loads
3 a bit more proactively with the goal, of course, of having
4 available capacity online for timely energization in the
5 future.

6 So next slide.

7 So in October of 2024, within the high DER
8 proceeding D24-10-03 was approved, and directs the large
9 IOUs to make a variety of different improvements to the
10 existing distribution planning process.

11 So just at a high level, I'm not going to
12 really -- I won't walk through these, but you can see here
13 some of the categories of improvement that we identified in
14 decision and the IOUs are currently implementing. So, you
15 know, enhanced forecasting so using more scenarios within
16 distribution planning. I think I just do want to highlight
17 this new and improved data one here with pending loads.

18 And so as I mentioned, utilities generally plan,
19 you know, rightfully to their known loads so they, you
20 know, the customers that they know they have to serve, and
21 they are working on developing a new pending loads category
22 that tries to anticipate where load growth and what type of
23 load growth may be happening in the future throughout their
24 service territory and to be able to plan for that more
25 proactively. So that's an ongoing -- it's ongoing work

1 that's currently happening within the proceeding.

2 Next slide.

3 This is illustrative. I'm certainly not going to
4 talk through this, but I just wanted to highlight, you
5 know, from the previous slide, you know, what all of the
6 actions actually are that were directed within the -- in
7 the decision from October of last year. So these are all
8 things that we've required the utilities to do in the name
9 of improving the distribution planning process.

10 So next slide.

11 All right. So let's move from distribution
12 energization to interconnection.

13 So next slide.

14 So as I mentioned, there's a new interconnection
15 OIR that mailed last week I guess, and is on the mission
16 voting meeting agenda for this week. So I'll caveat that
17 this hasn't been approved yet. You know, if it is approved
18 it would, you know, be on Thursday this week, which I can't
19 say too much about it at this point. I'm just going to
20 talk just a little bit about it.

21 And then actually let me just go ahead and jump
22 to the next slide.

23 So here's some of the preliminary topics that we
24 want to address, you know, within this new proceeding.
25 These are based on, you know, ongoing stakeholder

1 discussions that we have and -- you know, so there's still
2 quite a few issues out there that weren't addressed in the
3 previous proceeding. And so I just wanted to give folks a
4 flavor of what we'll be talking about in this -- or some of
5 the issues that we'll be discussing in the new proceeding.

6 So next slide.

7 One thing we have done that was directed from a
8 decision in the previous decision, and this has been over
9 the last couple of years, is developing limited generation
10 profiles, that limited generation profile option in the
11 rule 21 process. So this allows export-limited
12 interconnection without time and cost of distribution
13 upgrades where the, you know, the local system does have
14 capacity constraints. That's similar to what I was talking
15 about earlier on the load side. This is just for
16 generation. So if the customer is willing to throttle back
17 their generation during certain times of the day in the
18 year, they can avoid certain distribution upgrade costs
19 with the goal of also trying to speed along the
20 interconnection process.

21 And so the export limits are based on the ICA
22 values at a specific interconnection location. So this was
23 developed through a stakeholder working group and workshop
24 process through -- over 2021 through 2023, and then adopted
25 in a resolution in March of last year, and then

1 implementation actually just became effective last month in
2 July.

3 Next slide.

4 Okay. So transmission energization. So this is
5 going to be quick.

6 Next slide.

7 So yeah. So this isn't -- you know, the panel
8 here is talking about distribution-related issues, but I
9 went into this and this is energization related.

10 And so back in November of 2024, PG&E submitted
11 an application proposing this new Electric Rule 30 tariff.
12 The goal is creating a standardized process essentially to
13 connect transmission level customers seeking retail
14 service.

15 And so this table is intended to show where Rule
16 30 sort of fits in both jurisdictionally as well as, you
17 know, at which voltage level.

18 So as you can see, on the transmission side there
19 currently exists no rule that governs retail transmission
20 customers, such as there is on the distribution side with
21 rules 15 and 16. So this is that -- this is the gap that
22 this application is seeking to fill.

23 So next slide.

24 PG&E submitted a motion for interim
25 implementation of the rule back in January, and then last

1 month the CPUC approved a decision that partly grants
2 PG&E's motion for interim implementation of Rule 30. Just
3 the key points of the PD is it authorizes PG&E to begin
4 processing transmission level requests using the approved
5 form agreements, and requires the transmission level
6 customer to provide the entire costs of certain facilities
7 and provide PG&E a pre-funded loan for some of the Type 4
8 facilities which are the networked facilities, it did
9 decline to approve any repayments of the pre-funded loan
10 for facility Type 4s and it doesn't guarantee any repayment
11 of 100 percent of the loan.

12 Essentially here what we did is we, you know, we
13 didn't -- through the interim implementation didn't
14 establish any rate recovery authorization, and that will be
15 further considered as part of the application, which is
16 ongoing. So this just grants some limited ability for PG&E
17 to use the Rule 30 in the interim basis until we produce a
18 decision on the application itself.

19 So next slide.

20 Oh. And that was it. So hopefully I moved
21 quickly enough and now happy to stick around and answer any
22 questions.

23 MS. NAKAGAWA: All right. Thank you so much,
24 Matt.

25 We're going to turn it over to Philip Kobernick.

1 Philip is the Associate Director of Energy Programs of
2 Peninsula Clean Energy.

3 MR. KOBERNICK: Hi everyone. Am I coming through
4 all right?

5 MS. NAKAGAWA: I can hear you loud and clear.
6 Yep.

7 MR. KOBERNICK: Wonderful. Thank you. Great
8 presentation so far. Good afternoon, everybody. Thanks
9 for having me.

10 I'm Philip Kobernick with Peninsula Clean Energy.
11 If you're not familiar with us we are a community choice
12 aggregator, or CCA, for San Mateo County and the town of
13 Los Panos, the City of Los Panos in Merced County.

14 So we heard a lot about challenges of service
15 upgrades today, and to quickly really achieve deep
16 decarbonization on an accelerated time scale for buildings
17 and transportations, we're really going to need to minimize
18 the impact of service upgrades.

19 And so the way that we do that while serving our
20 customers and their efforts to decarbonize is to heavily
21 focus on right-sized strategies, and so I'm going to be
22 talking about that with my few minutes today and how we're
23 implementing it across our programs.

24 Okay. Next slide, please.

25 All right. So if you are a homeowner and you've

1 electrified your home yourself or if you've worked with
2 folks who have done this, there's a lot of social
3 encouragement let's just say to, you know, first start by
4 doing a service upgrade. Before you do anything, else get
5 your house up to 200 amps if you're at 100 amps or maybe go
6 to 400 amps if you're at 200 amps. There's a lot of
7 encouragement and also a lot of misinformation frankly on
8 how much load residential customers really need to fully
9 electrify their homes.

10 And so there's a few snippets here from all
11 across -- you know, headlines from all across the space
12 about what it means to really to upgrade your panel and why
13 lots of folks think that that's where they need to start.
14 But what I'll be talking about today are lots of strategies
15 that show you do not need to do a service upgrade if you're
16 electrifying, you know, a single-family home for -- to go
17 to electrify.

18 All right. Next slide, please.

19 So instead of pulling the we need to service
20 upgrade everywhere lever, an alternative approach would be
21 to implement right-sizing or right-sized strategies across
22 the board. And so what that means is you first identify
23 what you actually need. And so what I'm mostly going to be
24 talking about today is single family electrification, but
25 it's also relative for other sectors like EV charging and

1 multi-family segments and other commercial segments. I'll
2 touch on kind of all those, but generally speaking what do
3 you need? Like, what is the actual energy usage that
4 electrification will be required of you? And then start
5 with what you already got, with let's use the grid we
6 already have first essentially. And so for most folks that
7 -- well, I'll get into this in a moment, but that's using
8 what you already have in your home. 100 amps is sufficient
9 for most people. And then you only really upsize when you
10 need to. So that's, you know, of course back-of-the-meter
11 stuff but then, you know, upgrades down the line too,
12 because all this sort of cascades upward.

13 And so not everybody can avoid service upgrades
14 there's certainly a lot of scenarios in which service
15 upgrades are going to be needed. In my mind, I'm thinking
16 right now of a lot of fleet facilities too where you mostly
17 have very limited power and you're having to kind of
18 significantly increase power to handle fleet
19 electrification, but even in those instances where you are
20 going to have to do a service upgrade, when you right-size
21 your infrastructure -- in this case the EV charging
22 needs -- you're minimizing the impact significantly
23 upstream for what kind of front-of-the-meter resources
24 would be needed to be upgraded to handle those types of
25 projects.

1 So it's really important to avoid service
2 upgrades, of course, but then also minimize impacts for
3 distribution utilities and ratepayers across the board when
4 these major systems need to get upgraded.

5 Okay. Next slide, please.

6 Now, right-sizing as a strategy is really
7 important for saving money. I mean, there's a lot of folks
8 that focus on the big kind of behind-the-meter upgrades
9 that need to happen -- I'm sorry, the big front-of-the-
10 meter upgrades that need to happen, and that's really
11 important too. But it also saves directly customers when
12 they're upgrading in their properties too. So by using
13 more affordable solutions, right-sized technologies, that
14 not only helps the distribution utility, but it also helps
15 just everyday customers in their homes or for properties
16 that are doing lots of EV charging upgrades to electrify
17 more affordably.

18 And these are some kind of roundabout PCE numbers
19 that we looked at across the state for the real dollars
20 that we've seen by taking our savings from our programs
21 either as single families or a multifamily, and then
22 thinking about how that can cascade across the state
23 through a right-sized approach.

24 Okay. Next slide, please.

25 And the good news is that there is a lot of tools

1 at our disposal to do this. So electrification is becoming
2 easier and easier and easier, and there's a lot of ways to
3 again use the power that we have now while fully moving off
4 of fossil fuels.

5 So these include circuit controllers, pausers,
6 throttlers, things like that. I've included a few examples
7 here. The one on the top-right is like a -- the top two
8 and actually are like dryer splitters kind of. So imagine
9 you have your electric car and your dryer -- your electric
10 dryer in this case plugged in. They'll know to only turn
11 on one at the same time, right, so that you're not
12 overloading a circuit there. These are really affordable
13 little widgets to help you do that.

14 I've included some other examples. Simple
15 switch, the one on the bottom left is a load controller
16 from RVE called a DCC9 unit. These are all just ways of
17 pausing things to use, you know, the capacity that you
18 have.

19 Smart panels and breakers, like span up above.
20 These are also really, you know, interesting opportunities
21 to isolate loads, really stretch power capacity. And then
22 a big area that we focus on at Peninsula Clean Energy
23 across our multiple programs are using 120-volt equipment.
24 So these are low power or low voltage equipment that can
25 handle customers' needs especially in, you know, again

1 single family homes being a fine candidate for a lot of
2 these solutions. And they help folks electrify more
3 quickly and easily. Again, you're using the plugs that you
4 already have to electrify.

5 And so I have a few examples here. Our gradient
6 on the top left there is an HVAC -- a heat pump HVAC unit
7 that runs on 120-volt. There's on the top right Channing
8 Street, which has a battery integrated 120-volt range. So
9 again, you're plugging in not to a 240-volt in your kitchen
10 but a 120-volt, which a lot of people already have. And
11 then boom, you've got an electrified induction range with
12 just the -- you know, a regular plug.

13 120-volt EV charging on the bottom left is
14 another major area of focus that we look at. We've studied
15 this extensively in our program, and think that this is
16 actually a really great solution for nearly everybody.
17 We've done commute studies that show that over 90 percent
18 of regular drivers can meet their everyday needs if they
19 have a place to plug in every day. That overnight charging
20 provides 50 miles of recharge, and is a great solution for
21 everybody. And in fact, the CEC recently added a level one
22 charging into its Communities in Charge Program. Part of
23 the flagship state incentives to get EV charging into
24 multifamily. So great solutions there.

25 And then I'm now belaboring the 120 voltage point

1 a lot here, but also great for heat pump water heaters.
2 There's a number of solutions in which low voltage
3 equipment like this or 120-volt equipment really, really
4 helps people electrify quickly with what the capacity that
5 they already have.

6 And I'll also add one thing I didn't include in
7 this slide also, but PCE is also getting started a lot on
8 virtual power plants. It's not really like a service
9 upgrade kind of avoidance strategy strictly like we're
10 talking about here, but what we're doing on, you know, VPPs
11 and load shaping just generally speaking helps the larger
12 grid, right? You know, freeing up capacity constraints and
13 kind of being better stewards of our larger grid which is
14 another big area of focus that we're working on. Okay next
15 slide please.

16 So we've done a lot of challenges. I'm an
17 optimist and I like to also reframe the question: what
18 would it look like if we got it right? So if we're going
19 to achieve rapid decarbonization of buildings and
20 transportation mostly with the grid we have now, what does
21 that look like?

22 And fortunately we have some good examples from
23 our own PCE programs that I'll call out here.

24 So next slide, please.

25 All right. Right-sizing in action. So I know

1 some of this is a little abstract. Here are some real data
2 points.

3 So a few years ago we fully electrified nine low-
4 income homes in San Mateo County, and here's an example of
5 one of them. Actually none of these homes did service
6 upgrades. So all nine homes we electrified fully with zero
7 service upgrades, and a few of them, five of them in total,
8 had 100-amp service. So comprehensive electrification on
9 the service capacity that folks already have significant
10 avoided cost on a per home basis.

11 And on the right is a rental apartment in San
12 Mateo where we helped install 63 level one smart outlets
13 without a service upgrade. So 63 folks now have a reliable
14 place to plug in in their assigned parking there so they
15 know that their next car can be an EV because we were able
16 to do that with no service upgrade. So it happened within
17 weeks, not within months, and significant avoided costs
18 compared to what they would have spent if they were looking
19 at more expensive commercial level two charging and if that
20 required a service upgrade with larger distribution upgrade
21 assets.

22 Okay. Next slide.

23 So hot off the presses is a new report that we
24 are just releasing today on that whole home study that I
25 mentioned. So we fully electrified again nine homes with

1 zero service upgrades. Most of those have 100-amp service,
2 and there's a lot of great takeaways from this report but
3 one of the major ones is that all -- you know, these
4 customers on average had about 20 percent bill savings. So
5 most people are saving money after they electrify, which is
6 really critical. And then we're taking these reports and
7 then utilizing them in our direct install program as well.

8 Okay. I think I've got one or two more slides.

9 Next slide, please.

10 The other thing about right sizing is it helps
11 you go really, really big. So in our EV charging program,
12 we've installed over 2,000 chargers in the community. A
13 lot of them are level one, and right now we have some of
14 the largest multi-family EV charging projects in the
15 country that are happening right now, and a lot of that is
16 because we're using level one smart outlets which are more
17 affordable again and quicker to install.

18 And one of these is a 200 plus charging project
19 happening at the rental apartment in south San Francisco.
20 It's going to be one for every single parking lot, so -- or
21 every single parking space rather. So once that project is
22 done all these renters are going to have access to EV
23 charging, and they never have to do it again. So that's
24 kind of what this strategy helps us do, is by getting the
25 costs down, reducing the impact overall, it lets people go

1 really big for these types of decarbonization projects.

2 Okay. Last slide, and I think that might be it
3 for me.

4 Thank you. We have lots of great resources on
5 our website. I'm also happy to answer questions. Thanks
6 so much.

7 MS. NAKAGAWA: Okay. Thanks, Philip. We're now
8 going to bring on Bill. Bill is the senior manager of
9 electric planning modernization with PG&E, and I just do
10 want to note we are running a bit behind schedule so if we
11 are able to move a bit quicker through these presentations
12 that'll help us make up some time.

13 Over to you, Bill.

14 MR. PETER: Okay. Yes. So I'm going to talk
15 about accelerating distribution interconnection and
16 energization. I'm going to focus just given time mostly on
17 the energization aspects of it and some of the things we're
18 doing to really accelerate loads.

19 So if we move on to the next slide.

20 So really we view this as, like, really an
21 opportunity here, where we're having a lot of a need to
22 accelerate our energization of load for a high-
23 electrification future and if we can bring that load, and
24 we can scale up our delivery of customer energizations,
25 that's going to help transition the California economy, but

1 it's also going to, like, improve affordability if done
2 right for our customers because now we're bringing on a lot
3 more load to the system.

4 So thinking kind of from the perspective of like
5 where were we, what are we working on now, and where are we
6 going forward. I think, you know, a lot of the foundation
7 work was actually about transparency, right? So we first
8 had to kind of share with customers what's happening on the
9 distribution grid? Where is their hosting capacity? Where
10 is their grid needs? Where are we doing our distribution
11 investments?

12 Then we kind of moved towards how do we
13 accelerate those customer interconnections? How are we
14 doing in terms of actually delivering on those projects
15 that we have planned? How do we bring customer input in
16 earlier some of that proactive planning that we heard Matt
17 Coldwell mention before to bring that into our planning and
18 into our energization planning?

19 And then looking forward, right, how do we start
20 to leverage customer flexibility as we see, you know, more
21 and more both on the generation and the load side, more
22 flexibility from distributed energy resources and other
23 sources, how do we make sure we leverage that to both
24 accelerate customer timelines and also drive improved
25 affordability by reducing the need for infrastructure

1 upgrades?

2 And so with all that lens, kind of moving from a
3 deferral to more of an acceleration and scaling up mindset,
4 as well as making sure we really stay focused on the
5 customer outcomes, which is really about timeliness and
6 affordability.

7 Okay. So next slide.

8 So first on that, you know, transparency slide
9 one of the big things we've done is we have a Grid Resource
10 Integration Portal, which is where we provide customers
11 really visibility into our distribution system. This is
12 where we provide that host ICA, that hosting capacity data.
13 It's where we provide what our plans are for the system,
14 where the needs are. And we've done a lot of investments
15 that we can actually build this platform for future use
16 cases, and to handle the fact that we're seeing increased
17 use of this portal. We've had over a 600 percent increase
18 in customer usage. So it's clear that customers want this
19 type of information, and we're working to improve that
20 provision of that information for our customers.

21 Next slide.

22 Then we talked a little bit about, like, that
23 need to do proactive. So we improved, you know, our
24 transparency in terms of providing information outwards,
25 but we also need to collect information and start using it.

1 So we filed a community engagement plan which
2 will do outreach to customers and cities and communities to
3 collect their kind of pro -- you know, their future plans
4 for electrification. So, you know, this is before they're
5 ready to submit actual load applications. You know, what
6 are you going to do a few years out, five years out. Start
7 to get ahead of that, collect that information, and then
8 bring that into our actual planning process. So by the
9 time you submit that load application, we're already well
10 aware of it and we've already started to think because a
11 lot of this capacity work is multi-year in nature. So we
12 really need to get ahead of this growing electrification
13 need that's coming.

14 Next slide.

15 So then that's that medium term trying to get
16 ahead, that proactive planning, but we also want to look
17 long term, right? So we're undertaking an electrification
18 impact study where we're going to look at really how to
19 achieve a high-electrification future all the way out
20 through 2040.

21 A couple things to call out here. You know,
22 first we're going to we're going to look at the secondary
23 system and the primary distribution system. We just kind
24 of heard talk about how the importance of that secondary
25 system and actually thinking through what the impacts and

1 how to best do that affordably and quickly for customers on
2 the electrification side. We're also going to do
3 scenarios, right? So like how to look at that future under
4 a variety of different scenarios and plan with more
5 flexibility in the future.

6 We're also going to look at how to improve, you
7 know, the equity and make sure we're considering that we're
8 having equitable outcomes for customers as well as, you
9 know, again that load flexibility. How can we we're able
10 to, you know, bring more load flexibility and leverage that
11 load flexibility? How can we leverage that to both
12 accelerate and make more affordable the infrastructure
13 investments we need?

14 And then, you know distinguishing here a little
15 bit between, like, how the distribution system, you know,
16 that secondary and that customer individual planning works
17 versus, you know, our top system bounds approach. So kind
18 of building from the bottoms up, and really think through
19 how can we leverage that to be more efficient with our
20 investments and what's really needed for our customers.

21 So next slide.

22 So this was touched on earlier, so I'll keep this
23 short, but yes we've launched -- I do want to bring up,
24 like, a generation aspect. We have launched our limited
25 generation profile where we're basically empowering DERs to

1 leverage their flexibility to operate within grid
2 constraints, really to minimize the need for distribution
3 grid upgrades. That way they can accelerate their
4 interconnection and reduce the amount of costs associated
5 with that. And again, that GRIP portal I mentioned before
6 is where customers can get that information and then use
7 that in the your projects portal, it's called, as they
8 submit their interconnection requests.

9 And then next slide.

10 So that's on the generation side. On the load
11 side, so actually what we're really focused on is on that
12 intake process. We've done a lot of work to make work on
13 that iterative part with customers to make more efficient
14 back and forth on that initial intake part of when
15 customers want to get the energized. What we're also
16 looking to do is start using our ICA data to basically
17 allow it to flag for customers very early on if they have
18 capacity issues. What we don't want is customers
19 submitting requests and then finding out, you know, after
20 engineering review a couple months later that there's
21 actually an upstream capacity issue. So we want to bring
22 that early on and let them know.

23 And usually -- or often, I should say -- if we
24 work iteratively with the customers we can find solutions.
25 We can find some of those bridging solutions we discussed

1 about. So it's about being able to iterate, but doing it
2 early and being able to really provide a customer oriented
3 solution.

4 And then I think the last slide -- if you can go
5 to the next slide.

6 So those are a lot of the ongoing efforts we
7 have. Stepping back for a second, like, what's the key
8 challenge ahead? It's really about this need to scale up
9 the delivery of our capacity for our customers. For a
10 high-electrification future, we're going to have to start
11 delivering on an accelerated scale but also a much broader
12 scale just the amount of demand that we see.

13 And so for that, this is talked a little bit
14 earlier, we've set up a capacity delivery center to really
15 get a sense of how do we prepare for that scaling up. A
16 big part of that is readiness work. So these are multi-
17 year projects. So in order for us to be ready for that
18 increased energization needs that are three, four years
19 out, we really need to be getting these projects, the
20 sourcing, the permitting, the design work done on these
21 projects now. So it's about monitoring that and
22 accelerating wherever we see bottlenecks, and really
23 starting to really have a long -- like, a lean production
24 system model that we can take a project from that initial
25 stage where we identify that need as proactively as

1 possible, and then be efficient and drive that through,
2 thinking through multi-years ahead to deliver for those
3 customers. And if we can do that, we'll help facilitate
4 that transition for the California economy in a timely
5 manner, and then also as we bring that load on improve
6 affordability.

7 So thank you for the opportunity to speak. That
8 was -- that's it on my end. Thank you.

9 MS. NAKAGAWA: Thank you so much, Bill.

10 We're going to turn it over to Jigar Shah. Jigar
11 is the Director of Energy Services at Electrify America.

12 MR. SHAH: Good afternoon and thank you for an
13 opportunity to speak here. I'm the Director of Energy
14 Services -- next slide -- at Electrify America.

15 And so Electrify America operates one of the
16 largest DC fast charging networks in North America. We
17 have over a thousand locations across over 250 distinct
18 utilities and around 4,700 DC -- individual DC fast
19 chargers. They're all rated at 150 kilowatts or above.
20 The majority are 350-kilowatts-plus capable in terms of
21 power delivery to capable EVs.

22 Next slide.

23 And in addition to of course our DC fast-charging
24 infrastructure rollout, we also have the largest rollout of
25 on-site behind-the-meter energy storage coupled with DC

1 fast charging across the nation with over 170 locations
2 having again behind-the-meter coupled energy storage for a
3 peak load management perspective as well as a capacity
4 perspective. And that's going to be a big focus of my talk
5 today, and thinking about how, you know, the IEPR program
6 and the various rules can work cohesively to enable DERs to
7 improve energization timelines in a more cohesive manner.

8 Next slide.

9 And I thought I'd start with actually kind of a
10 design of how one of our charging stations looks, and this
11 is a conceptual design of course. As you see here, kind of
12 starting out from the left-hand side, a battery energy
13 storage system that can be rated around two megawatts or
14 so. Of course, a switchboard, a transformer where a 480-
15 volt or secondary voltages come in followed by the EV
16 chargers. And so you what you see there is 12 individual
17 power cabinets that are rated at 360 kilowatts DC output
18 each that are shared across two chargers, and that's around
19 24 chargers total there.

20 And so from an interconnected load perspective,
21 this can deliver around 4.3 megawatts of peak demand from a
22 DC perspective, and an interconnected basis 4.6 megawatts
23 AC, which would exceed the secondary voltage capabilities
24 of most of the California utilities in a single service.
25 And so the energy storage of two megawatts there would be

1 critical to bring this down into the secondary voltage
2 level. And this is an example of how smart DER deployment
3 can cost-effectively avoid for example medium voltage
4 service and deploy more charging infrastructure now.

5 Next slide, please.

6 In thinking about the various rules that we've
7 discussed so far in a panel, right, how do they all kind of
8 interact? And kind of bottom line up front is that, you
9 know, there's opportunities for synergies when you're
10 thinking about energization timelines, the role of energy
11 storage and solar, in terms of meeting the challenges that
12 we have as a state and a nation to have synergies between
13 all these different rules and how they interact.

14 Specifically kind of starting out here from the
15 from the top line 15 for line extensions, these often
16 ignore the impact of separate Rule 21 energy storage or
17 solar projects even if they're all being built at once.
18 We've had cases where, you know, we'll get capacity results
19 that don't account for the DER side because different
20 departments are not talking to each other, and that
21 requires additional handholding as well as delays.

22 And similarly, under the Rule 15 side of things
23 projects may be stalled because non-EV related Rule 15
24 projects actually get priority in a sense because Rule 15
25 and Rule 16 are so to speak standard and don't require

1 special treatment for Rule 29 and 45. And so we've run
2 into quite a few projects where we're being told in order
3 for those to move forward you might want to forfeit your
4 29/45 prioritization, if you will, because of those
5 resources are being deployed within the IOUs and other
6 priorities for a larger development. And so these are some
7 of the nuances that happen despite, so to speak, the
8 prioritization of Rule 29/45, which we appreciate given the
9 various Senate bills that enabled this to take place, to
10 actually come into practice.

11 And again, we do appreciate that the structure of
12 Rule 29/45 does accelerate investment and gives us more
13 confidence. From an actual deployment perspective, our
14 design duration right now in California working with the
15 IOUs is around 148 days, and our construction timeline is
16 133 days. And so around total project timeline from a
17 utility relationship standpoint is around 285 to 300 days
18 per project, which is still quite a bit far away from the
19 125-business-day goal that were set up within the
20 energization timelines. And again, going back to the first
21 presentation in this panel from Matt, right, a lot of those
22 are customer responsibilities within those timelines, but
23 there's a lot of nuance on where actually things are held
24 up when these practices are put into effect.

25 One other point on Rule 29 that I'd like to make

1 is, again, in the implementation, from an implementation
2 perspective, there can be a lot of back-and-forth
3 discussion on implementation with respect to minor
4 ancillary load that wasn't fully thought through from a
5 rule perspective that still needs the spirit of what those
6 rules are meant for. An example is if you want to put a
7 100-watt security camera at the site, we've heard that we
8 need to do a separate Rule 15 and Rule 16 line extension
9 for a security camera before we escalate because we
10 don't -- want, you know, there's a high rate of cable theft
11 in a given area.

12 And so we've been working cross-collaboratively
13 from a policy standpoint with many of the IOUs to clarify
14 some of these languages so that from a procedural
15 perspective when we're trying to build as fast as we can
16 within the state those type of nuances don't hold us --
17 hold anyone up, really, and there's a shared kind of, you
18 know, understanding of, okay, this is in good faith working
19 within these rules. And certainly there's going to be some
20 minor load that is related to charging infrastructure in
21 order to make these projects viable.

22 And finally kind of ending on the energy storage
23 and Rule 21 front that I already alluded to, Rule 21, you
24 know, is really treated as a separate process from our
25 experience combined to that kind of parallel or combined

1 nature, especially for a new build, when that's so critical
2 to enable energization, especially in a world with capacity
3 constraints that are becoming more and more common. And so
4 we appreciate kind of a lot of the other, you know,
5 procedural rulings that are kind of coming there with
6 respect to flexible interconnection in -- you all know that
7 in 31/41 and all those different processes that exist.
8 But, you know, there's a lot of technology that's deployed
9 today where there's opportunity for more synergies and more
10 uniformity in implementation rules.

11 And that's actually my next slide here, if we can
12 please move on.

13 And I think, you know, kind of building on what I
14 was just talking about with respect to various rules, what
15 this slide really shows is how the same exact language can
16 be very -- implemented very differently across the
17 individual IOUs. And what's interesting about the slide,
18 which before I kind of get into it is that each one of
19 these examples represents a practice that's deployed
20 uniformly by that IOU that is not deployed at all by the
21 other two. And so all three IOUs are represented here,
22 which is the interesting part. And so one of the IOUs
23 always asks -- you know, always considers energy storage as
24 an added load, even if you're certifying for example that
25 the producer storage system will not cause the host load to

1 exceed its normal peak demand even if the controls are
2 there, because it's meant to reduce peak demand to solve a
3 capacity issue. We still have to go through a separate
4 load study process in addition to a Rule 21. That is not
5 the case within the other two IOUs.

6 Similarly kind of the second example here,
7 there's a single IOU that will go through the fast track
8 process for behind-the-meter energy storage and say that
9 because there's too much solar on the circuit, even though
10 this is a non-export energy storage interconnection
11 request, it fails the fast track process and requires
12 supplemental review, which can take two to three months by
13 the time the payment and additional reviews are done.

14 Now technically, according to the Rule 21
15 language, yes, the fast track process can be failed because
16 there's too much solar on the system for an energy storage
17 non-export project. The other two IOUs say this is the
18 only screen that fails, that solar is not relevant from a
19 safety or system perspective so we're going to pass the
20 fast-track process. And so what's very interesting is that
21 it can takes us consistently three months longer with
22 additional fees to get energy storage in one of the IOUs
23 through versus the other two.

24 And finally last example here is a totalized
25 metering. And so from a developer standpoint, of course

1 utility rates are critical, and economics are critical for
2 us to continue to invest in accelerator investments from an
3 ROI perspective, and this is an example where quite a few
4 of the IOUs have discretionary language in their tariffs
5 with respect to allowing totalized metering at their
6 discretion. And what totalized metering means is there's
7 multiple secondary services. You can combine the meters
8 from a demand charge perspective.

9 And what was interesting in a recent case that
10 happened to Electrify America, we had an understanding with
11 the utilities' representatives that we could totalize a
12 site after energization, and we were told afterwards that
13 the utility exercised their discretion to not allow it,
14 which meant a one million-dollar-plus operational cost hit
15 to us that would have potentially made a site economically
16 unviable from an investment perspective to begin with, and
17 we reoriented our investments in that utility accordingly
18 moving forward.

19 And so these are all examples where even the same
20 exact language can result in very different actual
21 practices that have real business ROI implications and
22 timeline implications when companies like Electrify America
23 try to expedite interconnection and line extension
24 processes as much as possible working collaboratively with
25 IOUs. And, you know, there's substantially certainly a lot

1 of room for improvement, but we are also thankful for a lot
2 of the policies that are in place. For example, California
3 is the fastest state to get energy storage interconnection
4 by far because of Rule 21. So I want to make sure that I
5 keep that in -- you know, when we're talking about this in
6 this light, you know, there's a lot of progress that's been
7 made, and there's a lot of progress that can be made of
8 course.

9 And with that I think next slide.

10 And that's all I have. Thank you.

11 MS. NAKAGAWA: Great. Thank you so much, Jigar.

12 We're now going to go to our last panelist. Josh
13 Simmons is president and principal consultant of Prosper
14 Sustainably.

15 Over to you, Josh.

16 I'm sorry. I'm not getting your audio on my
17 side. Is anyone else hearing Josh's audio?

18 MR. SIMMONS: Oh, sorry.

19 MS. NAKAGAWA: There we go.

20 MR. SIMMONS: I wasn't unmuted on my phone.

21 So yes. Thank you to the Commission for having
22 me here today to speak to some of the challenges and
23 opportunities with respect to tribes and with respect to
24 energization interconnection and other distribution-related
25 topics.

1 So my name is Josh Simmons. I am the president
2 and founder, also an attorney with Prosper Sustainably.
3 I've been working with tribes for over 25 years now.

4 One of my roles is as owner -- lead owners'
5 representative on behalf of many tribes on clean energy
6 projects, whether that's solar storage, microgrids,
7 long-duration energy storage projects, PV charging
8 infrastructure, and a number of other projects. So that's
9 kind of one area that I'm sharing perspective from.

10 I think the other one is my role as co-director
11 of the Southern California Tribal Chairman's Association
12 Tribal Clean Energy and Climate Collaborative.

13 Go to the next slide, please.

14 So the Tribal Energy and Climate Collaborative
15 has been in existence for about two years now under the
16 Southern California Tribal Chairman's Association and its
17 25 member tribes. We have three program areas. One
18 program is focused on capacity building and technical
19 assistance where the collaborative or TECC is seeking to
20 advance the clean energy climate goals of tribes and
21 fulfilling their priorities including economic and
22 workforce development. There is a program focused on
23 economic and workforce development specifically, where
24 we're supporting tribes and conducting due diligence and
25 developing businesses and accelerating tribally led clean

1 energy technologies, climate technologies, and ventures.
2 And then finally the policy regulatory advocacy programming
3 that mostly right now is focusing on engaging in California
4 Public Utilities Commission regulatory proceedings, but
5 also with CEC proceedings and others as well. And
6 ultimately the overall goal of tech is to identify and
7 advance the climate energy and economic workforce
8 development goals of all of the 25 member tribes.

9 Next slide, please.

10 So SCTCA's tribes are spread throughout Southern
11 California in four counties in San Bernardino, Riverside,
12 Imperial, and San Diego counties.

13 Next slide, please.

14 And I really want to appreciate the opportunity
15 to be here, and really just talk about some of the
16 challenges in particular that tribes are facing in this
17 area. So, you know, first and foremost there are probably
18 at least a half dozen of the just the 25 member tribes that
19 have unenergized homes, like, homes that have been sitting
20 there for a significant period of time without power, in
21 some cases homes that have been without energy for years.
22 We've had tribes that have gotten homes brought to the
23 site, you know, through fed funding other resources, and
24 those homes have sat there for so long without power
25 they've had to ship them out, store them at -- you know, at

1 pretty significant cost to avoid infestation from rodents
2 and other pests. So, you know, tribes are experiencing
3 significant challenges in just getting homes in their
4 communities powered.

5 So unique to tribes that many other communities
6 don't face, there's some other requirements. So tribes
7 lands are held in federal trust administered by the Bureau
8 of Indian Affairs. And so for certain projects -- a lot of
9 projects, actually, requiring new service and service
10 upgrades -- tribes need to get BIA approval for easements.
11 That process in of itself is time -- takes time and is
12 challenging, but it seems to -- it's kind of known what
13 that process and that timing takes and it ends up taking
14 the utilities a lot longer. So things end up lagging for a
15 significant amount of time in the utility court, and there
16 ends up being a lot of finger pointing that is going on,
17 which is leading to tribes -- tribal members' homes sitting
18 there de-energized without power, with in some cases people
19 paying, making home payments for the home they had supposed
20 to be on the reservation.

21 The cost of new service seems to continue to
22 increase, making that a barrier too, and some of these
23 homes sit there without power. They find that initially it
24 was one cost, and that cost is even that much higher when
25 maybe they're finally in a position where they've gone

1 through all of the approvals.

2 Some tribal communities lack three-phase power
3 so, you know, in addition to them tribes wanting to
4 energize and expand their community and at homes, they also
5 are seeking to expand tribal enterprises. Many tribes are
6 dependent -- pretty much all tribes are dependent upon
7 economic development activities and enterprises to be able
8 to fund the revenues for their community and their
9 government. They don't have a tax base that they're
10 collecting revenues from their community members, so
11 without these enterprises they don't have the revenue
12 streams to support their governments.

13 Tribes and other communities -- other rural
14 communities are facing excessive public safety power
15 shutoff events that seem to shift the cost of prospective
16 risks and impacts to utility and utility infrastructure to
17 tribes and other communities, meaning they're without power
18 for days and longer. You know, it's at the level where we
19 have, you know, food spoiling in refrigerators and entire
20 governments and communities being shut down and not able to
21 operate and to generate the type of revenue streams that
22 keep their governments functioning.

23 Eligibility for funding for a lot of programs
24 that support the clean energy projects that tribes and
25 others want to see advanced are based on grid connections.

1 So those tribes are -- there are some homes that are not
2 close enough to even have a grid connection, or if they're
3 not grid-connected they can't for example use the
4 Residential Solar plus Storage Equity Program right now for
5 the homes and then there's a number of those programs too
6 that are only available for to IOU customers.

7 Related to this, DER incentives of program
8 timelines and requirements can be -- don't really match the
9 reality of projects for tribes and others. So there's a
10 number of tribal solar storage projects that were proceeded
11 under the earlier STF residential -- or, sorry, equity
12 resilience programs during the non-residential side of
13 things, and then there were certain timelines and a lot's
14 happened in the world since then that have led to impacts
15 that have extended those timelines, but the actual program
16 timelines have not been extended.

17 And then another I think related challenge is
18 that even with the new Residential Solar and Storage Equity
19 program the information that was available on it was not
20 really -- there wasn't enough outreach out there to help
21 tribal communities understand the program and how to take
22 advantage of it, and at this point in almost all
23 territories the funding's exhausted. So, you know, the
24 specific timeline requirements are not matching or not
25 working for tribal communities.

1 The micro-incentive program that seeks to bring
2 grid resilience capacity to tribal communities to alleviate
3 some of these outages are from in-front-of-the-meter
4 systems only that aren't a good fit for many tribes.
5 They're intended to be tribally owned in-front-of-the-meter
6 systems, meaning their only potential revenue streams are
7 from exporting resources and capacity versus behind-the-
8 meter systems that can actually provide retail cost savings
9 and direct resilience that are completely within the
10 tribes' control.

11 The incentives and investments and rates that are
12 out there don't seem to align with these behind-the-meter
13 Distributed Energy Resource investments that tribes need
14 that are going to provide them the resiliency the cost
15 savings and the sovereignty control over their own energy
16 resources. So, you know, be that the switch from NEM 2.0
17 to NEM 3.0 funding going toward undergrounding, which
18 actually now there's apparently less available -- the
19 ratepayers do not now -- ratepayer funding does not fund
20 undergrounding anymore. So it seems to be more
21 incentivizing grid infrastructure investments now, or
22 decreasing the ability of tribes and other -- tribes and
23 communities to invest in resources that ultimately are
24 going to give them the savings and resources they need.

25 So a lot of the processes for energization

1 interconnection are, you know, somewhat black box
2 processes. Sometimes, you know, we see them out there at a
3 high level. I saw an earlier presentation that kind of
4 went through some of the steps. As owners represented on
5 this project, there are usually a number -- usually a half
6 dozen sub-steps and dependencies within each of those
7 steps. And, you know, it really for tribes that don't have
8 the resources and don't have those working on their behalf
9 to, you know, press upon the utilities have difficulty
10 navigating these processes and progressing. They don't --
11 there's no set timelines and they don't really know what
12 this next step is and whose court what the next step is in.

13 Tribes have limited support for them in advancing
14 these things within the utilities, within agencies, where
15 they really need more, and they need that to be support on
16 their side helping represent their interests. There's
17 inconsistent among tribes, so those that do have more
18 resources available to them can be the squeaky wheel and
19 press really hard to push these things -- these types of
20 delays and these types of barriers forward, and then
21 there's the tribes that don't have those resources, that
22 have homes sitting there unelectrified for years and don't
23 really have any clear line of sight of when whatever
24 challenges they're facing can be resolved.

25 We have encroachment of California regulations

1 upon tribal jurisdiction and sovereignty. One example is
2 CPUC's rule or Public Utilities Code 769.2 that imposes
3 prevailing wages for projects that are greater than 10
4 kilowatts, and requiring prevailing wages for those
5 projects. And they end up paying up the developers that
6 are -- and contractors that are doing these projects for
7 others off tribal lands, and that actually holds up
8 projects on tribal lands even though state does not have
9 the jurisdiction or authority to impose prevailing wages or
10 make that call where it's the tribe's decision whether or
11 not they decide to proceed with prevailing wages and other
12 types of requirements for projects within their
13 jurisdiction.

14 And ultimately tribes, you know, are lacking
15 voice and lacking leverage in these situations. You know,
16 through the collaborative we are working to engage in CPUC
17 proceedings and on a more systematic basis but, you know,
18 there's a lot out there, and we're finding challenges in
19 navigating this, and even when we identify specific issues
20 and solutions and we are trying to go through the proper
21 channels, we're finding we're making, you know, little to
22 no progress, and that -- and then having to be creative in
23 how and how we can have tribal voices heard and kind of
24 exert some sort of leverage in addressing some of these
25 challenges.

1 Next slide, please.

2 So, sorry, I'm a little bit over time, so I will
3 try to blast through these solutions. So ultimately we're
4 hoping to see a more fully revealed and, you know,
5 increasing the streamlining of the energization
6 interconnection processes, down to -- you know, I think the
7 next step down or even two steps down in the level of, as I
8 mentioned, there can be, you know, a half dozen below each
9 of the ones that were listed in a prior presentation. But
10 there also needs to be -- more importantly, there needs to
11 be tracking reporting accountability for energization
12 interconnection timelines that's visible to tribes and
13 visible to others. So you know, they can't, you know, just
14 be told one thing and another tribe be told something and,
15 you know, they can, you know, point to that when they go to
16 the CPUC and others.

17 Tribes with respect to easements could use
18 support in proceeding with bridge easements that allow
19 tribes -- that only require tribal approval. So tribes
20 actually can issue easements for less than seven years, but
21 we're finding with one facility in particular, they're not
22 willing to accept that as a bridge for pending DEI-approved
23 easements.

24 We need better, more accessible distribution
25 capacity information data. I heard that talked about

1 earlier about, you know, PG&E territory, there's an
2 increase in the usage of that data, but we don't know any,
3 you know, better access to that, making sure the data
4 actually is up to date, but training on how to use it,
5 training specific to tribes and, you know, recurring
6 training so that they can understand and access it easily.
7 We want to see more and better TSPS data for tribes
8 themselves on what the TSPS impacts are in their community,
9 but also a greater understanding of utilities and CPUC and
10 CEC on the limits and hopefully limiting the cost-shifting
11 and impacts to tribes in rural communities.

12 We want to see, you know, greater incentivizing
13 and promotion of behind-the-meter clean energy, Distributed
14 Energy Resources and investments. Again, you know, going
15 back to the days of the California solar initiative, where,
16 you know, less of a specification of less -- of decreasing
17 the benefits of solar, because ultimately if we see more
18 greater investments in grid infrastructure and less
19 investments in community infrastructure, that should lead
20 to lower need for local or grid investments. But costs are
21 going to continue to rise, and it's not going to be the
22 incentive programs for distributed energy resources that
23 are ultimately causing those costs to rise, it's the
24 investments in grid infrastructure.

25 You know, funding and resources need to be

1 provided for off-grid homes and facilities. There should
2 be more dedicated staff at agencies, IOUs, and one of our
3 team members suggested even utility and regulatory
4 fellowships for tribal members.

5 We would like to see third-party technical
6 assistance be made available to tribes to evaluate
7 potential projects and distribution capacity, as well as
8 the same third-party TA to support tribes and disadvantaged
9 communities in navigating these energization,
10 interconnection, and other processes, and helping them get
11 through them to successful projects.

12 We're hoping to see more encouraging of support
13 of tribal collaboration on matters of shared interest, like
14 what the Tribal Energy and Climate Collaborative is doing
15 right now. That would include consistent and meaningful
16 resources for tribes to participate and advocate with IOUs,
17 agencies, and others. So we actually appreciate the CPUC's
18 equity and access program that's funding some of our
19 initial policy and regulatory advocacy programming right
20 now, but the funding that is available for it has a sunset
21 period and, you know, we know we're doing what we can to
22 ensure that there's continuity with this program.

23 And then ultimately seeing more support for
24 tribal energy sovereignty and tribal and intertribal
25 utility authority formation to help tribes gain greater

1 control over their resources, and I will do one last plug
2 that even though it's kind of outside the realm of
3 distribution for the tribes we're working with, you know,
4 on the transmission side, we want to better work with CAISO
5 and working with tribes as -- with their utility
6 authorities and as well as serving entities, and when
7 they're seeking to be load-serving entities, that they're
8 not treated as generators, and ultimately there's better
9 processes in place for working with tribes.

10 And that's all I have for today, so thank you so
11 much for considering our feedback.

12 MS. NAKAGAWA: And thank you, Josh, and thank you
13 to all of our panelists.

14 We're going to go over to Commissioner McAllister
15 for questions from the dais.

16 COMMISSIONER MCALLISTER: Great. Well, thanks to
17 the five of you. Sorry, thanks, Sandra, as well.

18 I know we're quite a bit over time, but I think
19 that's really a function of how interesting the topic is
20 and how much content there is, and so I really want to
21 appreciate everybody for their patience and sort of
22 sticking with us a little bit after the planned time.

23 I'll try to be quick with questions, just have a
24 couple, and we also want to get to public comment as well.
25 So I really love the growing emphasis on dialing in the

1 distribution grid and optimizing the distribution grid
2 before -- well, sort of alongside all the other things
3 we've been talking about this afternoon. But certainly I
4 think over the last few decades that's kind of been an
5 underappreciated element of the optimization and sort of
6 affordability and incorporation of renewables and, you
7 know, load-based resources and sort of distributed
8 generation -- distributed resources generally. So really
9 happy to see the focus on the distribution grid and also,
10 you know, not only on the sort of planning side, but on the
11 technology side, and I think several of you brought up some
12 solutions that really do help take advantage of the grid we
13 have, right?

14 In particular, Philip, I really enjoyed all of
15 your solutions and your glass-half-full approach to taking
16 advantage of this incredible investment that we've already
17 made. So not to minimize challenges -- there's tons of
18 challenges -- but the other day we had -- well, a couple of
19 months ago we had a LoadFlex workshop that I think was
20 hugely successful, and really we're starting to deepen that
21 conversation much more broadly, and I think it's been kind
22 of a specialty conversation up to now. How we can actually
23 take advantage of the digital age to manage loads in a way
24 that does fill valleys and clip peaks and really manage the
25 grid for optimal sort of cap-ex and affordability

1 generally.

2 So anyway, really excited about that, and I think
3 all of your presentations were sort of in line with that
4 general kind of realization and approach.

5 I guess maybe I'll just ask a question. I think
6 all five of you will have some views on this, but what --
7 so kicking off, Philip, your presentation, I think, more,
8 but really all of you. You know, appreciate all of what
9 you're doing in your seats to really unlock solutions.

10 And I guess I'm wondering, you know, what are
11 your views of the best solutions that are available for
12 deployment today, sort of in a pragmatic way, right? So I
13 do a lot of talking about, okay, we need all of our loads
14 to respond, you know, prices to devices, and we need
15 programs, you know, that sort of leverage technology, but
16 those technologies aren't pervasive yet. And so I guess
17 even though they're not rocket science, they exist, but
18 they need to be, you know, maybe there are cost barriers,
19 lots of barriers, but sort of they need to get scale.

20 And so what are your sort of views of the best
21 technologies implementable today, right? But what beyond
22 that are you most excited about in terms of, you know, on
23 the load side, particularly that's kind of my, you know,
24 area, but also, you know, sort of managing the dance
25 between supply and demand and sort of that optimization at

1 the distribution level. What are some of the things that
2 get you excited as well?

3 So maybe start with Philip and go on to the
4 others.

5 MR. KOBERNICK: Thank you, Commissioner
6 McAllister.

7 I'll give you two quick examples here, but
8 generally the theme is I like things that are simple.
9 Simple, but work great. And, you know, for where we are
10 with decarbonization, we have a long road ahead of us, and
11 frankly I think we all agree that we were hoping to be
12 further down the road than we are now. So things that are
13 simple and can be done quickly and effectively are what I'm
14 really inclined to be pushing here.

15 So my first answer to your question is level one
16 charging for EVs. It's about how a third of EV drivers for
17 residential drive now. Let's forget fleet for a second,
18 there's tens of millions of cars in California that are
19 owned by individuals that need to electrify in the next
20 decade or so, and for a lot of people that live in multi-
21 family housing are essentially starting from zero, right?
22 There's very little places to charge. And so we really
23 like level one charging as a ubiquitous solution that is
24 extremely affordable -- about \$2,000, \$2,500 each to
25 install, and now the state, you know, through the

1 Communities in Charge program is taking that idea and
2 running with it. So hoping to see great results. This is
3 actually the first time level one has been in that program,
4 so we're hoping -- and it's focused exclusively on multi-
5 family. So I think there's a lot of great potential there,
6 and that's an area that we just need to keep pushing and
7 pushing to get lots of progress on very quickly.

8 My second part of your answer is I'm really
9 excited about lower-power heat pump HVAC systems. HVAC,
10 for single-family home folks, that is the biggest part of
11 the pie when you're electrifying your home. If anyone here
12 has done it themselves, it's generally the hardest part of
13 that equation. So things that can reduce that cost from
14 \$20,000 plus project to something smaller I think will make
15 a long difference in terms of reducing those costs and
16 getting ubiquity. Things like the gradient or other
17 similar units I talked about could be part of that
18 solution, but there's a lot of I think interesting
19 innovation to come on that.

20 COMMISSIONER MCALLISTER: Great. Thanks a lot.
21 Appreciate that.

22 Anybody else?

23 MR. SIMMONS: I'll be happy to jump in here.

24 From an Electrify America perspective, I think
25 from a technology perspective, there's a lot of hardware

1 out there that can solve a lot of the constraint issues,
2 utility capacity constraint issues, but there's a lot of
3 trust issues around that. And so to the extent where the
4 state can identify collaboratively values, say, hey, if you
5 install this relay from one of these three manufacturers
6 and the utility will confirm XYZ settings, you just skipped
7 six months of processes. You're good to go.

8 And I think UL 3141 is kind of headed in that
9 direction, but that's a general UL standard. I think that
10 it's, you know, identifying these are the things we're
11 comfortable with. Here's what protects the system.
12 There's no more need for studies and all this other stuff.
13 Let's speed up timelines. I think that's from a technology
14 standpoint.

15 In terms of what I'm most excited about, one
16 thing I didn't mention in my presentation is that all of
17 our behind-the-meter energy storage within the state
18 actually participates on a daily basis as a virtual power
19 plant, participating in the CAISO system there on a demand
20 response basis. And, you know, we didn't really hear much
21 about V2G and that kind of buzzword frame here today but,
22 you know, I always think of energy storage to grid as the
23 first step before we hit V2G. And we have tons of energy
24 storage assets that if there's more, again, maybe trust
25 around relays or reforming interconnection processes, those

1 could be enabled today to really support the grid in a more
2 cohesive manner. It's really a matter of policy and the
3 wholesale distribution access tariff and all the
4 complexities around that, that those assets can't be used
5 today.

6 COMMISSIONER MCALLISTER: Thanks a lot.

7 I'm interested in, Bill, your view. PG&E, I know
8 you subsidized, you provided some subsidies or rebates --
9 not subsidies, rebates -- for a certain subset of the EV
10 charger market for homeowners, say, for the residential
11 market. And, you know, kudos on the test where you
12 mobilized a bunch of batteries last week. That was great.

13 Anything to add sort of about what you're most
14 excited about and sort of near-term prospects?

15 MR. PETER: Yeah. Yeah.

16 So kind of building on what we were just talking
17 about, thinking that the near term, it is that visibility
18 and the ability to, like, rely and kind of working through
19 how can -- when we're talking about, you know, improving
20 and reducing infrastructure investments, a big key for the
21 utilities is to really be able to see what the customer
22 behavior actually is. So that's the near term for us, is
23 that visibility. That's going to go a long ways.

24 And then the other thing is the technology is
25 obviously super important, but what we found is that often

1 it's about just working with the customer. Like there are
2 often engineering solutions when there are issues with
3 projects. A lot of the ways we're seeing like easements,
4 all these other things that aren't necessarily about
5 technology. It's about upfront, getting the data, getting
6 that information, getting that communication, and really
7 searching for an engineering solution for the customer.

8 But looking forward, I would agree that, like,
9 the thing I'm most excited about is kind of that customer-
10 oriented flexibility. So, you know, having that
11 flexibility at the customer site where they're thinking
12 about their own service panel upgrades and things, how to
13 reduce that. I think that'll flow upwards and we'll
14 actually see that then also improving on the bulk scale.
15 But getting down to that individual granular level, we're
16 actually seeing that kind of flexibility that's really
17 customer-driven flexibility and leveraging that for the
18 bulk system.

19 COMMISSIONER MCALLISTER: Great. That's super
20 helpful. And I don't recall -- I might have missed it --
21 but mentioning like smart panels, say, and sort of doing
22 more with less. I know there's a lot of interest in that
23 with utilities and much more broadly with the Commission as
24 well. So partnerships there seem like they can do a lot.

25 Interested in -- so Josh, I really appreciated

1 your perspective, your tribal perspective, and that
2 experience just really came across sort of -- lots of
3 barriers at all sorts of different levels with their -- I
4 guess, are there any tribes where things really are working
5 well and feel like they could be held up as an example of
6 how sort of a process and sort of technology application
7 works in a way that we can learn from and key off of?

8 MR. SIMMONS: Yeah. I mean, I think tribes are
9 leading the way with a lot of clean energy systems. I
10 mean, we have Viejas, which is one of the largest --

11 COMMISSIONER MCALLISTER: Yeah. Exactly.

12 MR. NEDRUD: -- bar none.

13 Rincon, we have another CEC deployment, some
14 long-duration energy storage. It's just, like, you know,
15 it works well. Some of these programs that are enabling
16 those types of successes work well for some tribes that are
17 located in a certain area, have a certain type of
18 operation, have certain resources. And ultimately, like,
19 we are having success in breaking down some barriers and
20 stuff like that. But how do we create that type of success
21 across the board?

22 You know, when you asked the earlier question, I
23 was thinking, well, you know, it's challenging for tribes
24 in going to decarbonization because, like, you know, it's
25 hard for them to go away from going from propane or gas or

1 even wood, like, you know, electrifying their homes when
2 they can't even get power or they're limited to single-
3 phase, unreliable power. Like, you know, going to an EV --
4 going to an electric vehicle is just really not an option
5 for them.

6 o, how do we, I guess, you know, tribes if -- I
7 found that tribes can move quickly and have success using,
8 you know, previously like DAC-SASH. I mean, you know, the
9 multifamily ones don't work for most tribes. So, there
10 just aren't multi -- you know, the new rounds of community
11 in charge were multifamily. So, you know, how do we help
12 tribes in deploying some -- I think, more solar and storage
13 capacity for homes and facilities that can be paired with -
14 - you know, if you're going to say, okay, well, install
15 community charging infrastructure, do some decarbonization,
16 electrification type of efforts. Well, okay. Well, how do
17 you put the resources right there that don't require the
18 grid upgrades that are just huge barriers, way too costly
19 for them to actually proceed with?

20 COMMISSIONER MCALLISTER: Okay. That all makes a
21 lot of sense.

22 And my question -- I didn't frame it sort of
23 tightly enough, but I was really thinking about sort of
24 that customer-utility relationship. And you started to get
25 to that just now with respect to like, okay, what programs

1 really are actionable for tribes that also have benefits to
2 the grid? And I think that sort of behind-the-meter
3 reliability support in remote places to improve, you know,
4 service quality, but also potentially defer costs. It
5 seems like an area where at least a number of tribes could
6 probably work really productively with their respective
7 utility to sort of figure out where those wins-wins are.
8 But that would take, that would take, you know, a concerted
9 effort, which I would absolutely encourage.

10 MR. SIMMONS: Yeah. I just -- sorry, just to
11 touch upon that too. Like, I mean, I think that's what the
12 collaborative that was recently formed is kind of trying to
13 do. It's like, how do we create greater visibility and
14 access to those programs?

15 It's just like -- there's a trust factor there.
16 And then there's also -- at one point there was a fire hose
17 of all this funding and resources coming out. And just
18 like, you know, you have somebody from your tribe that has
19 so many different hats, but I think if you can -- if
20 programs can be queued up in a way that do meet tribal
21 needs, brought from a trusted voice that are analyzed in a
22 way and, you know, curated in a way that actually works for
23 the community members, you can get a lot of uptake and a
24 lot of success. And then if one tribe sees success from
25 another tribe, that ends up leading to more tribes taking

1 advantage of programs across the state.

2 So with that, some of the -- you know, some
3 earlier engagement in ways that kind of work for tribes --
4 work for tribes' trusted partners too, because just, like,
5 ultimately they are relying upon others to better
6 understand and access some of these programs.

7 COMMISSIONER MCALLISTER: Great. Thanks a lot.
8 That's really a great vision. And I'm glad that
9 collaborative is starting to push in that direction.

10 So then wrapping up, Matt, you know, all this --
11 you know, everything that touches the distribution grid,
12 right, is both a potential opportunity and a potential
13 problem for you.

14 I wonder, you know, if you could sort of comment
15 on, you know, all of this beehive of activity, you know,
16 all over the distribution grid. Is there anything that
17 makes you sort of either nervous or optimistic or both
18 probably?

19 MR. COLDWELL: Yeah. I think so, Commissioner.

20 COMMISSIONER MCALLISTER: Sort of complexity,
21 right? I mean, that's kind of the name of the game.

22 MR. COLDWELL: Yeah. Yeah.

23 And my apologies. My computer slows down just
24 like me as the day moves on. So if my video is freezing a
25 little bit, I apologize.

1 Yeah. I mean, as I highlighted earlier, I mean,
2 we have so many different -- and, you know, actually, some
3 of my fellow panelists sort of alluded to this too, is
4 that, you know, we have so many different regulatory
5 proceedings that are covering all of these various topics.

6 And to the extent that we can start dealing
7 really with them a little bit more holistically, I think it
8 does make a lot of sense. I think Jared kind of keyed on
9 the, you know, some projects requiring Rule 21 and the
10 energization process and, you know, that introduces a lot
11 of complexity and time to a project. And I fully, you
12 know, appreciate that -- you know, that historically, these
13 things have been done separately, and now we're entering a
14 world where, you know, we should be thinking about these
15 things a little bit more holistically as we get projects
16 that require that insight. So I think that's a challenge,
17 but I also find
18 it -- you know, some optimism in the fact that, you know,
19 we are currently, like, identifying a lot of these
20 challenges, and I think we can start to take up a lot of
21 these issues in some of the proceedings.

22 I'd mentioned the new interconnection OIR that,
23 you know, hopefully is voted out on Thursday. And so, you
24 know, there's an opportunity there to raise these types of
25 issues, as well as, you know, within our energization

1 proceeding, we'll eventually have a phase two to that
2 proceeding. And so, you know, these are very much issues
3 that could be in play in, you know, one or both of those.

4 And, you know, the benefit is we just, we have --
5 you know, all of this is done under my purview of my
6 responsibilities. And so our teams work together really
7 closely and collaboratively. And I think that's a big, big
8 first step towards ensuring that we're thinking about these
9 things together is, you know, having the teams that are
10 actually working on it talking to each other, you know, and
11 breaking down those silos.

12 So I think just, you know, maybe to more directly
13 answer your question that you teed up is, you know, all
14 these things being part of distribution planning and being
15 on the distribution system that, you know, how do we break
16 away from the way things have previously been done in
17 silos, and move forward in more of a way that's, you know,
18 really looking at the system, you know, and how it
19 operates, how it's planned for, and incorporates all of,
20 you know, these new devices and new types of customer
21 loads. So I'm not sure if that was more of a challenge or
22 optimism, but that's --

23 COMMISSIONER MCALLISTER: Well, I mean.

24 MR. COLDWELL: -- I mean, those are some things
25 we're thinking about.

1 COMMISSIONER MCALLISTER: I really appreciate it.
2 And I mean, we heard early in the afternoon when the first
3 panel -- you know, heard the sort of bulk grid and
4 interconnection status from the agency perspective, but
5 then, you know, from a bunch of different folks, the second
6 panel about the bulk grid, and, you know, now we're talking
7 about the distribution level. And so there's, you know,
8 that challenge to not just laterally communicate with all
9 the stakeholders in any given level, but also up and down
10 the chain. So the customer doesn't get crazily confused
11 with, you know, what's going on as a result of maybe, you
12 know, a FERC tariff or something. So I think that, you
13 know, then relating that down to the retail level.

14 So I think we have a lot of things going on at
15 once, and I think today has been a really beautiful kind of
16 status report on all of it. So I really appreciate you
17 five and all the previous presenters today for your
18 expertise and thoughtfulness and being with us and sticking
19 it out a little bit over time, so -- and that did not help
20 just now. So thanks a lot. All right. Appreciate it.

21 So I think I'll wrap it up there. I don't know
22 if we have any public Q&A, but I'd like to pass it off to
23 Brian McCullough to manage that if we do. Thanks,
24 everyone.

25 MR. MCCULLOUGH: Hi. I'm Brian McCullough.

1 And we did have one quick question from the
2 audience. There was a question, could PG&E tell how a
3 customer could find the status of a transformer upgrade
4 they committed to 16 months ago for a school solar project?

5 MR. PETER: Sure. I can -- yeah.

6 So just generally, you know, with regards to
7 sources of information, there's obviously the GRIP portal
8 we mentioned before. There's a Rule 21 interconnection
9 reporting, and then also the energization timelines
10 reporting that my colleague mentioned earlier. So there
11 is, but I think really when we're talking about like
12 individual requests like this, that obviously there's, you
13 know, talking to if you have a service representative or
14 something like that.

15 I don't know this particular solar project, so
16 I'll take this back and we'll follow up with Claire on this
17 particular project to provide information, but just for the
18 broad answers, those are like the general approaches to
19 find out the information on either your energization or
20 interconnection requests.

21 MR. MCCULLOUGH: Thank you.

22 MS. NAKAGAWA: Thank you, Brian.

23 We're now going to move over to the public
24 comment period. As a reminder, one person per organization
25 may comment and comments are limited to three minutes per

1 speaker. While we welcome your comments, we will not be
2 able to respond to them during the public comment period.
3 The workshop notice does provide information about how you
4 can contact us with any follow up questions you might have
5 on the workshop content.

6 So we'll be using the raise hand feature today on
7 Zoom. Please use that now if you'd like to make a comment.
8 We will then call on you and open your mic to allow you --
9 to open your line, rather -- to allow you to make comments
10 at the beginning of the comment. Please state and spell
11 your name for the record and state your affiliation if
12 you're speaking behalf of an organization.

13 For those on the phone, we will have you dial
14 star nine to raise your hand and then star six to mute or
15 unmute.

16 We're first going to go to the Zoom raised hands.
17 I'm going to give it a minute, see if anyone wants to make
18 public comment on Zoom. Please raise your hand now.

19 All right. Not seeing any.

20 We are going to go over to the phone lines. You
21 can do star nine to raise your hand if you are calling in
22 via phone and want to make public comments. And those on
23 Zoom, you can also still use the raise hand function.

24 Okay. Well, with that, we're going to turn it
25 back to Vice Chair -- sorry, Commissioner McAllister.

1 If you do want to make written comments in the
2 docket, you have until 5 p.m. on August 25th. You can
3 submit written comments to the docket.

4 Commissioner McAllister, over to you for closing
5 remarks.

6 COMMISSIONER MCALLISTER: Thank you so much,
7 Sandra.

8 I just want to thank you and the whole IEPR team
9 for helping -- well, it's really for wrangling this really
10 rich discussion today and everything you do in all aspects
11 of IEPR. A lot of challenging topics we're working
12 through, lots of stakeholders, lots of -- I mean, we're so
13 blessed to have so many smart, engaged folks doing vital
14 work in the state. And today was a huge example of that.

15 So I really appreciate you and the whole team and
16 all the speakers and folks who stuck it out after close of
17 business today. I really appreciate it. I was riveted and
18 I'm sure a lot of you were as well.

19 So we absolutely encourage comments, written
20 comments. I think the written comments sort of give
21 stakeholders the opportunity to deepen their comments and
22 sort of provide data and sort of structure input in a way
23 that sometimes isn't available or isn't sort of doable in
24 real-time live at a workshop like this, so we really
25 appreciate your providing that rich background in the

1 written comments on the docket.

2 I'll just speak for both the Vice Chair and
3 myself that today's been great, and thanks again to the
4 moderators. I want to -- thanks to Sean and the whole IEPR
5 team and Molly for being here with the -- I'm sorry, Sean
6 and the whole staff side of it. Subject matter experts,
7 Molly from CPUC and Neil Millar, all three of you are
8 always so great to listen to. And all the presenters from
9 CAISO and the utilities and advocates really appreciate all
10 of you as well.

11 Much more to come through this IEPR cycle, and
12 this will be really important to feed into the various
13 aspects of the work we do together across the agencies, our
14 forecasting work and SB 100 planning and just all the
15 various project work that's going on across the state.

16 The slide that Molly presented at the beginning
17 of her talk just looking at the huge wedges of resources,
18 you know, storage and solar and all the rest of it, we're
19 seeing different storage technologies, we're seeing
20 different geographies. You know, we're really seeing
21 challenges emerge with this massive build-out, but also the
22 results that the build-out is giving us as a state, and I
23 think that will be clear even across the West, actually, as
24 California's infrastructure build-out helps budget
25 reliability across the West as we go forward in the coming,

1 you know, months and years. So that was -- that's an
2 incredible narrative, really.

3 And not to minimize the challenges that we talked
4 about this afternoon, but I think it is worth highlighting
5 the fact that we are really leaning in. We're walking the
6 walk and we're putting in place -- we, the royal we, across
7 the state, finance community, technology, cities and
8 counties across the country, you know, a lot of people
9 doing a lot of heavy lifting to get this build-out
10 accomplished. So I'm really optimistic for the future, and
11 especially just hearing all the collaboration that's going
12 on during the course of the afternoon.

13 So with that, I'll stop and just say thanks again
14 to Sandra and the team for opening this conversation and
15 providing the platform to have it.

16 And back to you, Sandra.

17 MS. NAKAGAWA: Great. Thank you, everyone.

18 We are adjourned for today.

19 (The workshop adjourned at 5:19 p.m.)
20
21
22
23
24
25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 17th day of September, 2025.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

September 17, 2025