

DOCKETED	
Docket Number:	25-IEPR-03
Project Title:	Electricity and Gas Demand Forecast
TN #:	266198
Document Title:	Transcript - IEPR Commissioner Workshop on Energy Demand Forecast Inputs and Assumptions
Description:	8.6.25 - Transcript for IEPR Commissioner Workshop on Energy Demand Forecast Inputs and Assumptions
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	9/29/2025 11:54:01 AM
Docketed Date:	9/29/2025

STATE OF CALIFORNIA
CALIFORNIA ENERGY COMMISSION

In the matter of:

Electricity and Gas Demand)
Forecast) Docket No. 25-IEPR-03
)
)
RE: Electricity and Gas Demand)
Forecast _____)

IEPR COMMISSIONER WORKSHOP ON
ENERGY DEMAND FORECAST INPUTS AND ASSUMPTIONS

REMOTE VIA ZOOM

WEDNESDAY, AUGUST 6, 2025

9:00 A.M.

Reported by:

Martha Nelson

APPEARANCESCEC COMMISSIONERS

Siva Gunda, Vice Chair, CEC

J. Andrew McAllister, Commissioner

CPUC

Alice Reynolds, President

Matthew Baker, Commissioner

CEC STAFF

Sandra Nakagawa, Director, IEPR

Heidi Javanbakht, Manager, Demand Analysis Branch, Energy Assessments Division

Quentin Gee, Manager, Advanced
Electrification Analysis Branch, Energy Assessments
Division

Mathew Cooper, Energy System
Planning Coordinator, Demand Analysis Branch, Energy
Assessments Division

Asish Gautam, Electric Generation System Program
Specialist, Energy Assessments Division

PUBLIC COMMENT

Claire Broome, 350 Bay Area

Eric Little, CalCCA

Doug Karpa, Peninsula Clean Energy

Roger Lin, Center for Biological Diversity

Kanya Dorland, Public Advocates Office

INDEX		<u>PAGE</u>
Introduction		5
Sandra Nakagawa, CEC		
Opening Remarks		6
Siva Gunda, Vice Chair, CEC		
J. Andrew McAllister, Commissioner, CEC		
Alice Reynolds, President, CPUC		
Matthew Baker, Commissioner, CPUC		
1. Overview of 2025 IEPR Energy Demand Forecast Scope and Uncertainties		17
A. Heidi Javanbakht, CEC		
B. Quentin Gee, CEC		
Discussion between dais and presenters		
Q&A from attendees, moderated by Heidi Javanbakht, CEC		
2. Economic and Demographic Inputs		45
Mathew Cooper, CEC		
Discussion between dais and presenters		
Q&A from attendees, moderated by Heidi Javanbakht, CEC		
3. Incorporating New Load Energization Requests to Utilities		64
Asish Gautam, CEC		
Discussion between dais and presenters		
Q&A from attendees, moderated by Heidi Javanbakht, CEC		
Public Comments		79

INDEX

PAGE

Closing Remarks

88

Adjournment

94

P R O C E E D I N G S

9:00 a.m.

WEDNESDAY, AUGUST 6, 2025

MS. NAKAGAWA: Good morning. Thank you so much for joining. Today, we're having an Integrated Energy Policy Report, or IEPR, Commissioner Workshop on the Energy Demand Forecast Inputs and Assumptions. I'm Sandra Nakagawa, Director of IEPR at the California Energy Commission. This workshop is being held as part of CEC's proceeding on the 2025 IEPR.

Today we are doing a remote workshop using Zoom. The workshop is being recorded, and recording will be linked to on the CEC website shortly after the workshop. To follow along, we've posted the schedule and slide deck. These have been docketed and posted on the CEC's IEPR website.

Throughout the day, there will be opportunities for the audience to ask questions of presenters. We'll have a few minutes after each panel to take audience questions, though we may not have time to answer all the questions submitted. You can use Zoom's Q&A feature to submit questions. You can also look at questions that have been previously submitted and upvote those by clicking on the thumbs up icon. Questions that receive the most upvotes are moved to the top of the queue. Attendees also

1 have the opportunity to make public comment at the end of
2 today's workshop. Please note that we will not be able to
3 respond to public comments, and those are limited to a
4 maximum of three minutes per person, with one person per
5 organization allowed to comment.

6 Written comments are also welcome, and
7 instructions on how to provide those can be found in the
8 workshop notice. The deadline for written comments is 5
9 p.m. on August 20th.

10 We're now going to turn it over to Vice Chair
11 Siva Gunda for opening remarks from the dais.

12 VICE CHAIR GUNDA: Thank you, Sandra. Good
13 morning, everyone. Thank you so much for being with us
14 today and for being a part of the IEPR workshop.

15 As many of you know, the forecasting work of the
16 Energy Commission is an integral and foundational part of
17 its work, which then flows into a number of downstream
18 processes, both at CPUC and CAISO, and becomes really
19 important in terms of understanding how it impacts the rest
20 of the planning process in the state.

21 I would like to extend my warm welcome to
22 Commissioner McAllister from the CEC and President Reynolds
23 and Commissioner Baker, who are joining us today for this
24 workshop. I also want to provide my sense of gratitude and
25 a big thanks to both the IEPR team for organizing today's

1 workshop and the EAD staff for their dedication, the Energy
2 Assessment staff for their dedication to this important
3 planning process.

4 As we continue to evolve the forecasting to meet
5 the needs of the times, it's really important to again
6 reiterate how the forecasting really impacts some really
7 important downstream products, such as resource adequacy at
8 CPUC, both the IRP and the transmission planning, but also
9 provides input into broader work for California Air
10 Resources Board, but sees its work in demand scenarios and
11 further resource planning and long-term transmission
12 planning as well. So the work that the Energy Commission
13 does on demand forecasting and demand scenarios informs a
14 lot of critical processes all the way from generation to
15 transmission to distribution. It's really important for us
16 to continue to make sure that the forecast reflects a load
17 to make sure that we have reliable supply and we have the
18 timely build-out that we need and the procurement decisions
19 are driven through that, but also making sure that we do
20 not overestimate uncertainties and then overbuild, which
21 will cost the ratepayers.

22 So today's planning efforts are continuing to
23 come in a time of growing uncertainty. We are now
24 navigating an evolving climate change. That's something
25 that we have been trying to incorporate over the last

1 decade, but also now compounded by both shifting federal
2 policies from regulation to tax credits and tariffs and
3 rapid technological advancements like AI and some emerging
4 loads such as hydrogen and such. So as we think through
5 this it's really important to recognize the continued need
6 for refinement of the forecast, and I want to commend the
7 CEC staff for making a number of improvements all the way
8 from making the annual forecast to an hourly forecast,
9 incorporating better and better information for behind-the-
10 meter solar production, storage dispatch to modify the
11 forecast adequately, and continuing to put in the impacts
12 of climate change into the forecast. It's a lot of work,
13 and forecasting is one of those things that is not
14 completely visible, you know, on a day-to-day basis, but I
15 really want to commend the staff for managing these complex
16 overlapping uncertainties.

17 One of the key improvements for this year has
18 been really incorporating the known loads information.
19 This becomes especially important given some of these known
20 loads, such as data centers and other manufacturing loads
21 could be very localized, and it becomes really important
22 for us to get that right. And, you know, this also
23 includes charging stations that could be coming as clusters
24 along certain areas. So I just want to thank the CPUC for
25 both sharing insights into methodology of how to

1 incorporate that, but also helping develop some of those
2 data sets.

3 So with all that, I'm incredibly thankful,
4 excited about the work we do, and want to just close on a
5 note of thanks to PUC, CAISO, the employees (phonetic) and
6 the many stakeholders without whose collaboration and
7 continued engagement the advancements we make at CEC would
8 not be possible. And also a big shout out to the CPUC
9 staff and CAISO staff who work with CEC very closely under
10 a joint agency working group, which allows for a lot of
11 this work to be managed on a regular manner, and really
12 kind of helps us with the adaptive management of the
13 forecasting products.

14 So with that, I would like to first invite
15 Commissioner McAllister, and then President Reynolds and
16 Commissioner Baker, who are also with us.

17 COMMISSIONER MCALLISTER: Thank you very much.
18 Thank you, Vice Chair. You covered the topics really well.
19 Maybe I'll just add a little bit.

20 So I want to just double down on the message of
21 iteration and the ongoing communication between the
22 agencies. That is really fundamentally the beauty of
23 having this platform and the IEPR, and the first word in
24 IEPR is integrated. And really, the staff does an amazing
25 job of working through issues as they come up, not just

1 sort of around the big milestones that staff will talk
2 about in terms of the process you're going forward, but
3 also just every day on a daily basis.

4 New information comes in. As the Vice Chair
5 said, there's a lot of uncertainty, certainly from the
6 federal level, and just evolving marketplaces around AI and
7 data centers. That's a big one these days. There's a fair
8 amount of uncertainty, not just in California, but across
9 the nation. And I'm really excited to kind of get this
10 process moving. I think this workshop is sort of warming
11 up the engine really for accelerating the analysis a little
12 bit down the road as data comes in around the summer,
13 summer loads and the patterns there. And, you know, so far
14 we've been relatively lucky to not have a super-hot summer,
15 but everything can change quickly.

16 So the distributed resources are of great
17 interest to me and to all of us at both agencies, certainly
18 the fuel substitution, trying to get a handle on that as we
19 move forward, electrification of transportation, all the
20 different distributive energy resources that we actually
21 have healthy levers to pull to help create aggregated
22 solutions on the load side or at the grid edge to help with
23 reliability. And so the forecast actually can shed a lot
24 of light on that as well and give us some ideas of what are
25 the most effective policies that we could use on that

1 front, which is a way to keep costs down and save
2 ratepayers money over time. And I think that's an area
3 where California is really leading. So I want to always
4 highlight that in this conversation.

5 I think, I guess I'll wrap up there. I'm really
6 happy to have -- I just -- I'll also reiterate kudos to the
7 Assessment Division staff and IEPR staff. Sandra and her
8 team just always do such a great job. And also the staff
9 at the agencies, the CPUC and CAISO, just the
10 leadership-level coordination and the staff-level
11 coordination are really the lifeblood of this process. And
12 we always kind of have to roll with current events and what
13 happens, and staff just really understands that and does a
14 great job and builds those relationships so that we can
15 have a robust process. Each year, this is a full forecast,
16 and the odd year, obviously, and so lots of work ahead.
17 Really appreciate everyone's participation in this
18 workshop, so thanks for all the attendees as well.

19 And with that I'll pass it to President Reynolds.
20 Thanks.

21 MS. REYNOLDS: Great. Good morning, everyone.
22 I'm really excited to be here. Thank you so much to the
23 CEC for including us on the dais. And I want to also make
24 sure I give a huge thanks to the CPUC staff for planning
25 this workshop and preparing for it, getting ready. They

1 always make it look so easy. And thanks to the
2 participants for being here today. I'm eager to hear the
3 discussion.

4 I did want to note, Vice Chair, I have some
5 conflicts, so I'm going to be in and out a little bit, but
6 I'll try to listen in as much as possible.

7 I also wanted to just take a minute to pull some
8 of the threads that were raised by both the Vice Chair and
9 Commissioner McAllister, and note some of the other
10 processes that are ongoing at the PUC that are related to
11 what we're going to be talking about today, and just, you
12 know, kind of note that although we are living in a
13 changing world, and I think that's part of what is driving
14 our need for refinement for the forecast, we're constantly
15 working on improvements and changing our inputs and
16 assumptions to adapt to the changes we're seeing on the
17 system. And so I really did want to emphasize the planning
18 framework that is the bedrock of our electricity system,
19 and note that with the forecast, with the processes that
20 flow from the forecast, we're really not just waiting for
21 things to happen and reacting. We're planning and we're
22 making commitments based on that planning really pretty far
23 out into the future.

24 And so while there's a lot of uncertainty, and I
25 would say maybe more uncertainty now than we've seen at

1 least in recent years in the past, we do have systems in
2 place to account for that uncertainty, and our framework
3 for planning is really mature and it's designed to protect
4 ratepayers. And of course the IEPR is a critical piece of
5 that planning. It feeds into so much of the work that we
6 do at the CPUC, including determining how investments can
7 be made at the lowest costs and feeds into our transmission
8 and distribution planning process for those purposes.

9 And so, you know, just to note in California, we
10 do anticipate significant load growth. All of our
11 regulated utilities are showing growth in load at levels
12 that we haven't seen before, largely driven by data centers
13 and electrification. So there's uncertainty about the
14 scale and the timing of that growth, and it really does
15 make accommodation of those loads challenging.

16 But I wanted to mention, as I said, a few things
17 that we're doing at the CPUC that are related, and just
18 provide some kind of context to how we're really looking at
19 these problems from many different directions. One is our
20 Rule 30 proceeding, which is getting going, and we did
21 issue a decision for an interim tariff that would allow for
22 expedited and more certain connection to the transmission
23 system. So meant to accommodate large loads and create a
24 process where funding could be provided by the customer up
25 front, and we're going to be thinking about the concept of

1 repayment when that load materializes. So really a more
2 expedited way to provide certainty and to accommodate new
3 loads coming on, and we'll also help with tracking purposes
4 and help get us more visibility into the future.

5 Another example of that increased tracking and
6 knowledge is the work that we're doing in our energization
7 proceeding pursuant to Senate Bill 410 and AB 50. We have
8 a new process to kind of segment out the timelines for
9 energization and make sure that we are holding the
10 utilities accountable for those pieces that are in their
11 control and setting then overall timing based on the
12 different processes that -- different steps they need to
13 take to energize new customers, and we've also established
14 a new cost recovery process for PG&E at their request to
15 provide certainty about cost recovery and also lead to
16 efficiencies and cost containment, and as a result, we've
17 seen increases in energization projects that were completed
18 in 2024.

19 The final thing I wanted to highlight is just all
20 of the work that we're doing on distribution planning and
21 moving towards a scenario planning framework that will
22 allow us to think about and account for different potential
23 futures into a single investment plan for the utilities so
24 that we have more flexibility and we're able to be more
25 nimble in the distribution system planning process.

1 So with that, I just really wanted to thank you
2 for the opportunity to be here. I'm again looking forward
3 to the discussion and wanted to say thank you again to all
4 of the great work of all of the staffs at the joint
5 agencies including the CAISO, CPUC staff, and of course the
6 CEC staff. Really love to see the coordination of our
7 staffs working together. It just has led to so many great
8 advancements.

9 So thank you very much, and I'll turn it now to
10 Commissioner Baker.

11 MR. BAKER: Thank you President Reynolds and
12 thank you to the staff and the commissioners at CEC for
13 inviting me to attend this workshop. I do not want to
14 repeat what everyone else has said except to say I agree
15 with it, and I particularly want to thank the president for
16 laying out, you know, what we're doing to address the
17 challenge ahead. So I'll keep my remarks short and high
18 level.

19 The Public Utilities Commission relies on the
20 Energy Commission's IEPR process to show us where we're
21 headed so we can determine how much our load-serving
22 entities will need to procure to deliver reliable electric
23 service. Taking a step back from where we are is always
24 helpful at this stage of the energy transition. I
25 personally believe our primary focus should be on promoting

1 electrification, and to that end my office is interested
2 and very involved with many of the proceedings that the
3 president had highlighted to find new ways to energize new
4 load quickly and efficiently, and I would add with a lot of
5 the things that we're doing particularly the Rule 30
6 proceeding creatively.

7 With regards to some of the other new drivers of
8 load, particularly data centers, I believe we need to move
9 deliberately and, you know, we need to meet all new load
10 when it's needed. I also need to -- in this particular
11 area we need to be really careful that we're adhering to
12 traditional cost causation principles and that we're
13 working to avoid cost shifts and particularly stranded
14 assets.

15 I'm just going to conclude with the, you know,
16 kind of the truism that load growth can put downward
17 pressure on rates and improve affordability if we can bring
18 that load on in an economically efficient manner and avoid
19 unnecessary cross subsidies. In general, I think all of
20 this can help us to create the conditions where
21 Californians can have access to abundant, clean, and low-
22 cost energy.

23 With that in mind I look forward to today's
24 workshop, and again, thank you for inviting me, and thank
25 you to the staff of the Energy Commission for organizing

1 this workshop.

2 VICE CHAIR GUNDA: Thank you. Yeah, thank you
3 Commissioner McAllister, President Reynolds, and
4 Commissioner Baker. Thank you so much for your comments
5 and setting the stage for today.

6 In the tradition of the CEC's workshops where we
7 have CPUC commissioners, just want to note for record that
8 it's a tie today. We have two and two, and given President
9 Reynolds' confession that she will not be -- that she will
10 have to step out every once in a while, we will take the
11 lead for today's workshop. So with all that, again, a
12 sincere note of thanks to everybody and I will pass now to
13 Heidi.

14 MS. JAVANBAKHT: Thanks, Vice Chair Gunda. Thank
15 you President Reynolds, Commissioner McAllister,
16 Commissioner Baker for your introductory remarks.

17 My name is Heidi Javanbakht. I'm the Manager of
18 our Demand Analysis Branch at the Energy Commission in the
19 Energy Assessments Division and I'm going to kick us off
20 this morning with an overview of the scope of updates that
21 we are planning for the 2025 IEPR forecast. I'm co-
22 presenting with Quentin Gee, who is the manager of the
23 Advanced Electrification Analysis Branch and you'll be
24 hearing from him in a bit.

25 Next slide, please. And one more.

1 All right. Thanks.

2 All right. So we decided early on in this
3 forecast cycle that we would limit the types of updates
4 that we're making this year so that we're not implementing
5 any big methodological changes, and this was in response to
6 comments that we've received over the past couple years
7 about how impactful swings in the near-term forecast can be
8 for utilities in procuring resources to meet their resource
9 adequacy requirements. So we are sticking to the routine
10 annual updates which includes incorporating refreshed
11 economic and demographic projections, and adding the 2024
12 electricity and -- electricity sales and behind-the-meter
13 PV and storage adoption to the historical data set.

14 And after that we are focusing on developing more
15 scenarios than we've had in previous cycles. This is
16 something that we had had in mind anyway, and then just
17 with all the increased uncertainty with federal policies
18 and all the changes happening, I decided that this would be
19 a good area of focus for this year. So we are rethinking
20 and expanding scenarios for behind-the-meter PV and
21 storage, additional achievable fuel substitution or
22 building electrification, and additional achievable
23 transportation electrification and data centers.

24 And we are also exploring the incorporation of a
25 new data set from the investor-owned utilities for their

1 energization requests, also known as the known load data
2 set that was referred to earlier, and that's the data that
3 they are using to inform distribution system planning.
4 That is the largest methodology change that we're making
5 this year, and we are only considering this change for the
6 local reliability scenario so that it does not impact
7 resource adequacy, which uses the planning forecast.

8 And next slide.

9 And the reason we are revisiting and expanding
10 our scenarios this year is to better capture uncertainty.
11 And again, with all the changes coming out of the federal
12 administration, uncertainty has greatly increased. So this
13 table on this slide qualitatively summarizes areas that
14 introduce the largest amount of uncertainty for forecasting
15 electricity demand. It's certainly not comprehensive, but
16 does capture the areas with the largest uncertainty. So in
17 this table, we have ranked uncertainty in the short term
18 and the mid and long term as low, mid, and high, and that's
19 based on our judgment of two considerations. The first
20 consideration was the impact that that area would have on
21 electricity demand, and then the second consideration was
22 the extent to which more changes could occur in this area
23 in the future.

24 And then the last column in this table provides
25 an overview of how we are addressing the uncertainty with

1 our forecast modeling, and we'll talk through each row here
2 one by one starting with the data centers.

3 So with the data centers, the potential impact to
4 electricity demand over the next 10 to 15 years is huge, on
5 the order of gigawatts, and this is an area that is
6 changing every time we talk with the utilities. So in last
7 year's forecast, we included approximately 3.5 gigawatts of
8 new data center load statewide, and since we adopted last
9 year's forecast, PG&E has announced nearly 13 gigawatts of
10 data center capacity in the queue. So there's going to be
11 some big changes to our data center forecast this year,
12 just based on that alone.

13 With data centers, there is a lot of uncertainty
14 around how many projects will be completed, the timeline
15 for their completion, what the market for AI will be in the
16 future, how many data centers will be needed to support
17 that market, among other things. Just because of all the
18 uncertainties in this area, we are developing different
19 scenarios to capture a range of possibility. I know this
20 is a very popular topic these days. It's not actually on
21 our agenda for today. If you'd like more information on
22 data centers, we had a Demand Analysis Working Group on
23 July 16th that focused -- it was several hours of
24 discussion at that DAWG meeting on data centers. So we can
25 drop the link to those materials in the chat, but also feel

1 free to reach out to us if you have questions or want to
2 discuss further.

3 The second item in this table is climate change.
4 In the near term there is uncertainty around when we'll see
5 another extreme heat event, and then in the mid and long
6 term there's uncertainty about the frequency and length and
7 magnitude of heat events. Our forecast team has been
8 working with Eagle Rock Analytics and Lumen Energy Strategy
9 to incorporate data from global climate model simulations
10 into our forecast to assess climate change impacts on
11 electricity demand and to improve our methodologies around
12 that.

13 The next area of uncertainty is with the hourly
14 and peak loads. These are highly influenced by weather and
15 extreme heat events. Our forecast products now include a
16 probabilistic hourly data set that takes inputs from the
17 downscaled global climate model simulations that we've been
18 working with Lumen Energy Strategies on. The one-in-X year
19 peak values are an output of the probabilistic hourly data
20 set, and that allows us to look at what we call normal
21 which is a one-in-two-year peak as well as a one-in-five-
22 year and one-in-ten-year values, and so this gives us a
23 range and likelihood for the annual peak demand.

24 Tariffs are of course another area of
25 uncertainty, and we'll be talking about these more today in

1 our upcoming workshops. Many of these are still being
2 negotiated, so in the short term there is high uncertainty
3 in this area. And because these are not finalized, they
4 are not captured in the economic projections that we're
5 using for this year's forecast. There's uncertainty around
6 how much the new tariffs will impact prices for
7 technologies which just as an example would impact adoption
8 rates of PV and storage. We expect PV and storage prices
9 to increase which along with the elimination of the federal
10 tax credit at the end of this year will increase the
11 payback period and most likely decrease adoption rates.

12 The federal tax credits for behind-the-meter PV
13 and storage as I just mentioned expire at the end of the
14 year. That is a change that we know is happening at least,
15 and will be in place at least for the remainder of this
16 federal administration. But what remains uncertain is how
17 the market will react to both this and the tariffs.

18 And so the way that we're going to handle this in
19 the forecast this year is, again, to produce more scenarios
20 around PV and storage adoption. And this is where I'm
21 going to turn it over to Quentin to cover the remaining
22 items on this slide from the transportation and building
23 electrification perspective.

24 MR. GEE: Great. Thanks, Heidi.

25 Yeah. As Heidi mentioned my name is Quentin Gee.

1 I'm the manager of the Advanced Electrification Analysis
2 Branch. We focus on transportation building efficiency and
3 fuel substitution for building electrification
4 technologies. So yeah. As Heidi discussed, some of the
5 uncertainties above, I'll talk about some of the main ones
6 here towards the bottom. Tariffs do -- are going to play a
7 role because of the -- just the uncertainty when it comes
8 to imports. A lot of vehicles for transportation are made
9 in the United States, but there are imports, so those will
10 have -- introduce uncertainty about exactly how to model
11 overall demand for vehicles.

12 When looking at tax credits, as Heidi mentioned,
13 yeah, there certainly are tax credits on self-generation
14 technologies. As well we're looking at tax credits for
15 large -- excuse me, light-duty vehicles and basically
16 electric vehicles but zero-emission vehicles, and also
17 medium- and heavy-duty electric vehicles as well. That's
18 another tax credit that's been lost.

19 Home efficiency upgrades have been -- will -- the
20 tax credits for those end at the end of this year. The
21 same would go for heat pump tax credits. So a lot of just
22 incentives for adopting electrification and clean
23 technologies have been eliminated at the federal level.
24 There are some ways, and looking at the future the Governor
25 Newsom in California signed an executive order, and now the

1 Air Resources Board is going to be pursuing or looking at
2 new ideas to encourage electric vehicle adoption. So on
3 the one hand, you're losing incentives at the federal
4 level, but we are continuing as a state to think creatively
5 about ways to increase zero-emission vehicle adoption in
6 the state.

7 There are CARB -- so California Air Resources
8 Board and local air district regulations. A lot of these,
9 there's some uncertainty here with regards to zero-emission
10 appliances and the standards that underlie those. There
11 have been some wins for some local air districts when it
12 comes to some of the zero-emission appliance regulations,
13 but there also have been some sort of instances in which
14 standards have not been adopted and -- or standard
15 implementation has been delayed. So there's some
16 uncertainty there which will feed into the longer term.

17 Finally when it comes to hydrogen, there's still
18 I think a little bit too much uncertainty in this area. We
19 are proceeding in the IEPR in the Senate Bill 1075 part of
20 the integrated -- this year's integrated energy policy
21 report to think through the possibilities of hydrogen and
22 the role in which it could play in the economy of the
23 future, but as far as the forecast component goes, at this
24 point we don't have enough confidence for integrating it
25 into a forecast. In the short term, we're not anticipating

1 any clear impact, but it's primarily in the long term where
2 the impacts
3 are -- or the uncertainties just are a little bit too much
4 for us at this point to introduce into the forecast.

5 We are continuing to -- you know, as I mentioned,
6 the Senate Bill 1075 work exploring hydrogen pathways and
7 then also when it comes to the ARCHES Program that the
8 Governor's Office of Business and Development has pursued
9 pretty rigorously their funding source -- or their funding
10 and their program project opportunities in there. And
11 we're continuing just to stay close to the ground on those.
12 And we will -- as we get more confidence in that, we are
13 going to be looking closely at hydrogen. But for this year
14 we are not going to include electricity demand for hydrogen
15 in that.

16 And I think that's it for characterizing
17 uncertainties. There's a lot here we're always happy to
18 engage with stakeholders that want to contact us and
19 discuss further, but we hope that this kind of gives you
20 the broad strokes on, like, you know this age of
21 uncertainty.

22 MS. JAVANBAKHT: Thanks, Quentin.

23 We can move to the next slide.

24 So again, the primary way that we are capturing
25 uncertainty in the forecast is by assessing multiple

1 scenarios that look at a range of possible outcomes. We
2 are in the process of designing a set of scenarios for the
3 forecast components that are driven by policy decisions,
4 and we'll be presenting those proposed scenario designs at
5 our August 18th Demand Analysis Working Group meeting and
6 the August 26th IEPR workshop.

7 In the meantime, if you have any ideas for
8 scenarios please reach out to our forecasting team to
9 discuss. It is really important that we are covering the
10 range of possibilities so that if things change prior to
11 the 2026 IEPR forecast being developed, we are able to
12 quickly pivot. Though it's not ideal, if there are things
13 that change early next year after forecast adoption it is
14 possible for us to reconfigure our planning forecast or a
15 local reliability scenario. Those two main products are
16 made up of different combinations of the load modifiers so
17 it is possible for us to swap out one scenario for another
18 as long as those are already developed and adopted as part
19 of the suite of forecast products.

20 And on that note, our current thinking is that
21 we're going to wait until October to decide with
22 stakeholder input which combination of scenarios go into
23 the planning forecast and the local reliability scenarios.
24 That way we can look at the load modifier results, the
25 draft results, and have the latest news on the federal

1 policy changes to inform our decisions around which
2 combinations make the most sense for resource adequacy,
3 integrated resource planning, and transmission system
4 planning.

5 And next slide.

6 So just wanted to wrap up with our timeline for
7 public input this year. For anyone new to this process,
8 our DAWG meetings, the Demand Analysis Working Group,
9 meetings take a deeper dive into the forecast methodology,
10 and are a less formal forum meant for open discussion and
11 feedback from stakeholders while the IEPR workshops like
12 today are more formal, and we typically don't have as much
13 time to dive into the details. Our next DAWG meeting is
14 August 18th, where we'll be covering the inputs and
15 assumptions for behind the meter PV and storage, additional
16 achievable energy efficiency, fuel substitution, and
17 transportation electrification, and that will include the
18 proposed scenario designs and more discussion around the
19 policy uncertainties.

20 The same topics will be covered more formally at
21 the IEPR workshop on August 26th, and then after that we'll
22 spend September and October running all of our forecast
23 models. We'll come back at the end of October to present
24 the draft load modifier results at a DAWG meeting and then
25 the draft overall forecast results will be presented. The

1 load modifiers will be presented on an IEPR workshop in
2 November and then the overall forecast results will be
3 presented at a IEPR workshop in early December.

4 We are accepting comments all along the way, but
5 after that December IEPR workshop we have one last formal
6 comment period and then we'll be finalizing everything over
7 the holidays for adoption at the CEC business meeting in
8 mid-January of 2026.

9 And that's it for my presentation. I'll take any
10 questions.

11 MS. JAVANBAKHT: Now I'll turn to the dais, Vice
12 Chair Gunda or any other members of the dais if there are
13 questions for Heidi or Quentin.

14 VICE CHAIR GUNDA: No. I just wanted to say
15 thanks to Heidi and Quentin. I've been tracking what's
16 been said, so thank you so much Heidi and Quentin. So
17 thank you. I don't have any questions.

18 Commissioner McAllister?

19 COMMISSIONER MCALLISTER: No. Just great to have
20 a handle on the process, and I appreciate the overview and
21 I think we're identifying the right kind of topics to do
22 scenarios around so I appreciate that. I've been paying
23 some attention to all of this.

24 VICE CHAIR GUNDA: Great. I think I want to just
25 maybe highlight what Heidi mentioned in terms of the Demand

1 Analysis Working Group being an informal process for
2 engagement.

3 Heidi, that's open for anybody that's noticed and
4 it's open for anybody to join?

5 MS. JAVANBAKHT: Yes. Yeah. That's correct.

6 VICE CHAIR GUNDA: And are those meetings hybrid,
7 Heidi?

8 CHAIR HACKER: They are hybrid. Yeah.

9 VICE CHAIR GUNDA: I think it'll be good to -- I
10 know you were going to put that in the --

11 MS. JAVANBAKHT: I will.

12 VICE CHAIR GUNDA: -- chat. I think it'll be
13 good to just elevate -- continue to elevate for anybody
14 who's interested in participating in those. I don't see
15 any other dais members having questions, so I'll pass it
16 back to you, Sandra.

17 MS. NAKAGAWA: We're going to go to the audience
18 Q&A. Looks like we have a couple, and Heidi's going to
19 lead us through the audience Q&A portion.

20 MS. JAVANBAKHT: Yeah. So our first question is
21 from Claire Broome.

22 You mentioned scenarios with behind the meter
23 resource adoption. Will the CEC be adding ability to
24 analyze scenarios with greater adoption of front-of-the-
25 meter resources on the distribution grid?

1 This is something that we are still discussing
2 internally. This has a lot of implications to CAISO and
3 CPUC processes, so at this time we're not planning on
4 incorporating front-of-the-meter resources into the
5 forecast, but it is something that we are still discussing
6 internally.

7 And Vice Chair Gunda, I don't know if there's
8 anything you wanted to add there.

9 VICE CHAIR GUNDA: No. Thanks Heidi.

10 I think it's just two points. I think it's
11 really important to continue to evaluate the opportunity,
12 the impact of that on the demand side, and I think I just
13 want to appreciate, Heidi, you and your team for continuing
14 the conversation and thinking through how to incorporate
15 that when it's possible, and I just want to maybe clarify
16 what you just said. We're not doing that for this cycle,
17 but you're continuing to think through that.

18 Thank you.

19 MS. JAVANBAKHT: The second question is from Ian
20 McMillan (phonetic), and this one, Quentin, is for you.

21 Can you touch on how you are projecting energy
22 needs at the LA and Long Beach ports?

23 MR. GEE: Yeah, thanks for your question, Ian.
24 That's a good one. Generally speaking, part of the
25 electricity demand associated with the ports of LA and Long

1 Beach would be attributed to sort of general economic
2 growth that would presumably be captured in our industrial
3 model. When it comes to -- I think probably one of the
4 main questions you're thinking about is more around
5 electrification of components at the facility such as, you
6 know, yard tractors, side handlers, those sorts of
7 equipment that's at the port of LA and Long Beach.

8 We do have an off-road electrification model that
9 is incorporated into the transportation energy demand
10 forecast. It is not in our traditional -- what we call a
11 load modifier, the kind of light-duty vehicle and medium-
12 and heavy-duty trucks or vehicles that we normally have in
13 there, but they are incorporated into our off-road model,
14 which does go into the sort of the baseline forecast. And
15 we are anticipating electrification of port and cargo
16 handling equipment at the ports associated with that.

17 MS. JAVANBAKHT: Thanks, Quentin.

18 The next question is from Daniel Nelly
19 (phonetic).

20 Could you repeat why tariff impacts won't be
21 making it into the 2025 IEPR?

22 Yeah, Daniel, we'll be talking about this more
23 today. Basically, the tariffs are not final, and we use
24 economic and demographic projections from May from Moody's,
25 and they were even less final back in May. So, that's the

1 primary reason.

2 And then with the PV and storage costs, our team
3 has talked with NREL. We use projections from NREL for the
4 price forecast for PV and storage, and they're in the
5 process of updating those projections to incorporate the
6 tariffs, but those won't be available until the fall, which
7 is too late for us to incorporate in this year's forecast.

8 MR. GEE: Yeah. And when it comes to
9 transportation, I would also add on that front, vehicles,
10 it's tricky to sort of fully model out vehicle prices with
11 tariffs given the uncertainty that there is going on right
12 now. We are going to pay close attention to that, and as
13 necessary we will be able to update our expected vehicle
14 prices across different segments, different vehicle types.
15 So, like, you know, you might imagine like a SUV or a
16 pickup truck -- well, pickup trucks most likely not, but
17 sedans or other types of vehicles and sort of model that
18 out.

19 But right now, given the uncertainty about, you
20 know, just when, how much, you know, the tariffs are going
21 to be, it would take a lot more work at this point, and we
22 need more certainty until we can begin that.

23 MS. JAVANBAKHT: Thanks, Quentin.

24 I'll go ahead. Next question comes from Roger
25 Lin.

1 Do the IOUs consider uncertainties contemplated
2 for analysis in this demand forecast cycle when adding data
3 centers to the queue? For example, just referencing the 13
4 gigawatts that PG&E has in the queue.

5 They do. PG&E and SCE and some of the other
6 utilities had presentations that talked about how their
7 forecasting data centers that they presented at our July
8 16th DAWG meeting -- all the slides are posted, so I
9 recommend taking a look at those. But they do look at the
10 application status and how far along the projects are and,
11 like, how much commitment that they've shown when they're
12 considering how to forecast and plan for those.

13 BOARD MEMBER SCHENK: Heidi, can I just request
14 you also just comment on the spirit of that question how
15 the system-level forecast is being kind of harmonized at a
16 busbar spot level to the bottom-up forecast where some of
17 the distribution planning is happening?

18 MS. JAVANBAKHT: Yeah. Well, this is an ongoing
19 process with some challenges, but we started this process
20 with data centers.

21 So last year we worked closely with five
22 different utilities that are seeing a lot of data center
23 load growth so that we could incorporate that into the
24 forecast, and they sent us information that came from the
25 applications that they have in the queue for data centers.

1 So it's bottom-up, it's site-specific information.

2 We made some adjustments to that based on some
3 historical trends with data centers and how they use energy
4 based on or compared to the requested -- the capacity that
5 they request. So that's how we incorporated it into the
6 forecast at the system level, and then we also worked with
7 the utilities on the locations of all of these projects at
8 the busbar level.

9 We do work with CAISO. So after our forecast is
10 adopted each January, we have another product that we
11 develop after that that goes to CAISO where certain
12 components of the forecast we disaggregate down to the
13 busbar level, and that goes to CAISO for transmission
14 system planning. So we did that process with the data
15 centers this year and have -- even as late as earlier this
16 week, have been working with some utilities to make
17 adjustments to that just based on their latest and greatest
18 information. So we are -- it is an evolving process and
19 we're learning a lot as we go through this, but we are
20 trying to make sure that these large loads are accounted
21 for in our forecast so that they can be properly planned
22 for at the transmission and distribution levels.

23 Quentin, I don't know if you had anything you
24 wanted to add to that. If not, that's fine. Okay.

25 And then we also have another presentation later

1 this morning from Asish Gautam on how we are incorporating
2 the known load data from the utilities into our forecast
3 this year, and the known load data set is what the
4 utilities are using for distribution planning.

5 Okay. There are quite a few questions. I'm not
6 sure that we're going to have time to get to all of them.
7 I am going to prioritize the ones that have been upvoted.

8 So the next question comes from Matt Vespa
9 (phonetic).

10 To what extent is managed charging assumed for
11 medium- and heavy-duty vehicles to lower coincident peak
12 demand for those charging stations?

13 And I saw there is a similar question about load
14 shifting and how the CEC will incorporate its goal of 7,000
15 megawatts through load shifting in the demand forecasts.

16 Maybe, Quentin, you can take both of those.

17 MR. GEE: Okay. Yeah. Great. Tanya and Matt,
18 thank you for your questions. They're kind of interrelated
19 in a way.

20 But sort of to get to the NBHD question, we do
21 have a load model -- an electric vehicle infrastructure
22 load model that we employ. Basically it is -- we have base
23 load shapes of presumed charging demand from medium- and
24 heavy-duty vehicles by different classes. So, class A
25 trucks, big old heavy trucks that you see on the road, they

1 have a different charging cycle than we would expect from a
2 class four box truck or something like that.

3 So we have those baseline load shapes and we
4 integrate them in with time of use rates that vary by
5 utility, and we have a responsivity sort of multiplier that
6 we use to reduce load -- the presumed load at peak in the
7 sense that -- or given the understanding that people are
8 inclined to avoid charges. That doesn't mean that medium-
9 and heavy-duty charging goes to zero during peak hours, but
10 it is reduced. We are going -- so that's the way the
11 current load model works. We're looking at other ways of
12 thinking through a good way to do load analysis with those.
13 But that's how it's currently done in the IEPR. That's
14 done for light-duty and for medium- and heavy-duty
15 vehicles. And we do see a reduction in the peak
16 contribution for medium- and heavy-duty vehicles on that.

17 When it comes to the 7,000 megawatts goal of
18 demand flexibility, that is another situation. There's a
19 little bit of interface there with medium and heavy duty
20 charging because medium heavy duty charging may be an
21 opportunity for some demand flex. But there's a whole lot
22 of additional demand flex potential out there for
23 light-duty vehicles, ag water pumping, you know, like, air
24 conditioning, HVAC systems, water heating systems, lots of
25 different opportunities for load flex that we explored in

1 the Senate Bill 846 report, and we are going to be doing an
2 update on that this year.

3 As far as integrate -- so we have done some
4 additional work on that through the Senate Bill 100 process
5 as well, and we have integrated in a demand flexibility
6 tool that can take in all of these different types of loads
7 and assign a certain degree of potential opportunity for
8 demand flexibility at each given hour of the year with
9 constraints on how often demand flexibility can be called
10 upon. That is integrated into a cost model that kind of
11 evaluates -- a supply model that evaluates how there would
12 be responsiveness as a result.

13 Right now it's much more into sort of, like,
14 we're evaluating potentials. We're not actually at the
15 point yet where we can treat that as a full load modifier
16 that goes into the forecast, so we are working our way
17 towards thinking through that. That is sort of on our
18 agenda.

19 Some of the certainties that need to be sort
20 of -- that need to unfold on that front are clear
21 programmatic design and implementation, a better sense of
22 costs, and actual kind of, like, you know real world
23 results that can allow us to build that in with more
24 certainty, but there is a lot of potential there, and I
25 look forward to reading through the section on Senate Bill

1 846. But right now can't integrate that into the forecast,
2 but we are hoping to be able to do that in the future.

3 COMMISSIONER MCALLISTER: I wanted to just jump
4 in real quick on that as well. Thanks. Really appreciate
5 the answer, and you both -- for both Heidi and you for
6 fielding these questions. And just keeping an eye on time.
7 I think we're going to have to move on here.

8 But I did want to just highlight that there is a
9 lot of testing and experimentation going on at increasing
10 scale on load flex and sort of pragmatic ways of harnessing
11 and aggregating it. And last week PG&E did sort of a test
12 but at some scale with some partners to mobilize battery --
13 behind-the-meter batteries as a load flex resource. And
14 they got many hundreds of megawatts in predictable,
15 dispatchable, aggregated behind-the-meter battery resource
16 that portends really well for really mobilizing and putting
17 into operation the tools that we need to meet the load flex
18 goals.

19 So I just wanted to highlight that. It's not
20 sort of directly related to forecast at this moment, but
21 certainly there's a lot of progress there.

22 MR. GEE: Great. Thank you, Commissioner. That
23 is a technology and an opportunity that is also in the
24 demand flexibility tool, that and also vehicle to grid. So
25 yeah. As we see more results like this, we'll be able to

1 integrate them into the tool and also think about building
2 it in as a load modifier in the future.

3 VICE CHAIR GUNDA: Yeah. Quentin, I just want to
4 kind of uplift and thank the work that the team is doing
5 on, you know, the IMD data that we have, you know, the
6 metadata, trying to assess the coincidental load of
7 different, you know, different loads coming online. So I
8 just appreciate that ongoing work and continuing to think
9 about, you know, optimizing the investments necessary on
10 this distribution grid for maximizing consumer benefit,
11 both in terms of having the capacity to interconnect, but
12 also, you know, not overbuilding and maximizing the use of
13 the distribution grid.

14 So really appreciate that work that the team is
15 leading, so thank you.

16 MS. JAVANBAKHT: Okay. So we've got three more
17 questions, which I think -- I think we have time to get
18 through all of these, and I'm going to take the data center
19 question first.

20 Regarding data centers, some bring supply with
21 them. How does the IEPR consider data centers with on-site
22 generation?

23 So the way that our forecast works, the
24 distributed generation component of the forecast is
25 separate from, like, the data center component or the other

1 sectors in that we forecast demand and then we forecast
2 generation in two separate models.

3 With data centers, we are monitoring this. We
4 know that there are data centers inquiring about having on-
5 site generation that would potentially fuel their
6 electricity needs 100 percent, and they wouldn't be reliant
7 on the grid. I think it depends on what sort of setup they
8 have, but we are talking with different utilities about
9 this and keeping an eye on it so that we make sure that
10 we're incorporating it into our forecast in a way that
11 makes sense.

12 And while we're on this topic, I will also just
13 note that we did talk with SoCalGas yesterday. They have a
14 proposed tariff that CPUC is currently reviewing for
15 microgrid optional tariff that if that moves forward could
16 bring some potential options -- create more potential
17 options for on-site generation for large customers.

18 And then, okay. I'll take the next question from
19 Lee Ewing (phonetic).

20 What is the methodology for attributing new
21 forecasted load to individual LSEs?

22 I assume that this question has to do with data
23 centers and how we attributed those data centers to LSEs in
24 last year's forecast. I will start by saying we are
25 improving how we do this process for this year. How we did

1 it last year was we collaborated with the IOUs, PG&E, and
2 SCE, and asked them how many of those data centers and
3 which data centers they expected to have service from them
4 versus service from a CCA or other LSE in their territory.

5 And so that's -- we had used their input last
6 year to do that allocation. This year, we plan to have a
7 lot more discussions and collaboration with the affected
8 LSEs, and we'll make sure to -- this was all happening
9 pretty late in the process. For last year, we should have
10 more time to build in more collaboration with the LSEs in
11 this regard for this year.

12 Okay. And then the last question: is it possible
13 that certain behind-the-meter solar deployment scenarios
14 might see an increase in near-term deployment to capture
15 expiring tax credits? That's part one of the question.

16 And then, part two -- or actually maybe a
17 separate question -- can you share how multiple scenarios
18 and sensitivities flow through into CPUC and CAISO inputs,
19 and is there a base case that gets used?

20 So to answer the first question about the behind-
21 the-meter solar deployment first. We have a lot of
22 interagency collaboration, as was mentioned at the
23 beginning of this workshop, and one of the areas that we
24 work really closely with CPUC on is with tracking solar and
25 storage adoption. So even though the main historical

1 dataset that we use goes through the end of 2024, we are
2 tracking 2025 installations from CPUC's data. And so, we
3 should be able to capture some of those trends in our
4 forecast.

5 We are -- as this is alluding to, wouldn't be
6 surprised if there is an increase in adoption through the
7 end of 2025 with people trying to get those credits before
8 they expire, but that's something that's difficult to
9 forecast and would really only impact 2025, and maybe a
10 little bit into 2026.

11 Okay. And then, the second part: can we share
12 how multiple scenarios and sensitivities flow through into
13 the CPUC and CAISO inputs, and is there a base case that
14 gets used?

15 There is a base case that gets used. We call
16 that our planning forecast, and then the planning forecast
17 is used for resource adequacy and integrated resource
18 planning. And then we have a local reliability scenario
19 that's used for exactly what sounds like: more localized
20 planning and studies for the transmission system and
21 distribution system. Those are all outlined in our IEPR
22 report. So you can find the details in there under --
23 there's a section called the single forecast set agreement,
24 and so we have an agreement with CAISO and CPUC on which
25 scenarios -- which combination of scenarios will get used

1 for different planning processes.

2 Okay. We had one more question come in. We'll
3 take this one, and then we should move on.

4 And Quentin, I think this one's for you.

5 MR. GEE: Yeah.

6 MS. JAVANBAKHT: Does the IEPR modeling include
7 the updated scoping plan and SB100 goals? And then what
8 about the impacts of federal policy changes?

9 MR. GEE: Okay. Thanks, Rosa (phonetic). The
10 scoping plan, so the IEPR modeling does include some of the
11 policies that have been implemented that have been, you
12 know, expressed or put forward in the 2022 scoping plan.
13 So things like Advanced Clean Cars II, we have that in
14 Advanced Clean Fleets. We have that as a possibility in
15 there, but as you may have heard that the Advanced Clean
16 Fleets rule has been removed from federal approval at this
17 point.

18 So there are things that are -- you know, there's
19 uncertainties there, but we have that framework to include
20 components of the scoping plan. But where the scoping plan
21 does not have an explicit policy pathway forward to reach
22 certain goals, then we do not include those scoping plan
23 goals. For instance, vehicle miles traveled reduction is a
24 goal in the scoping plan, but it is not backed by an
25 explicit policy.

1 SB100 is a little bit different. SB100, that's a
2 supply issue and the demand forecast or actually the demand
3 scenarios, which is a sort of an extension of this forecast
4 that we do, that does go into the demand component of the
5 Senate 100 Bill report that needs to be, that is in
6 development. And that sort of -- that is sort of is used
7 to inform what the supply would need to be -- what the
8 supply mix would need to be to meet the demand. So there
9 is a lot of -- there's the IEPR sort of informs SB100 in a
10 way, but not obviously not completely.

11 Federal policy changes, I think I may have
12 touched on this earlier, but yeah. Depending on the policy
13 changes, it's hard. That's why we're kind of doing the
14 different scenarios at this point in time, but there have
15 been a lot of federal policy changes at this point. So
16 we're kind of hoping for that broad swath of scenarios,
17 we'll be discussing further because they do introduce a lot
18 of uncertainty.

19 VICE CHAIR GUNDA: Heidi and Quentin, I know we
20 are going to move off from the questions here. I just
21 wanted to say, first, you know, thank you for all the
22 incredible work that's happening on understanding the
23 uncertainty. And as we discussed, I think continuing to
24 daylight the analytical work when the time is right on
25 understanding how these uncertainties -- you know, the

1 magnitude of a certain uncertainty could flow downstream
2 into different parts of our planning processes, whether
3 it's RA, whether it's transmission planning, distribution
4 planning, and really the impact of doing that both on the
5 positive side of being ready for load growth and on the
6 negative side of potential higher rates, right? So like,
7 how do we think about that balance?

8 And I know that there's a lot of work that has
9 been started, and I just want to recognize for the public
10 as a whole that's being currently done and would love and
11 welcome the CEC team with our colleagues at the other
12 agencies to put them in these public workshops when we are
13 ready.

14 Thank you.

15 MS. JAVANBAKHT: Yeah. Thanks, Vice Chair Gunda.

16 Okay. In the interest of time, we're going to
17 move to the next presenter. Thank you for all the
18 questions, and there is one question left in the Q&A from
19 Rajiv Dabir (phonetic). We will type a response to that
20 one but wanted to move to the next presentation.

21 So, with that, we've got Mathew Cooper up next to
22 talk about the economic and demographic updates.

23 MR. COOPER: Good morning. I'm Mathew. I help
24 to coordinate the various parts of our IEPR forecast, and
25 I'm going to go over our updated demographic and economic

1 projections for 2025.

2 I want to give credit to Nancy Tran from our data
3 integration branch. This is the result of her hard work
4 and expertise.

5 So next slide.

6 Economic and demographic data are some of the
7 primary inputs to our energy demand models. They're key
8 drivers of electricity and gas consumption, which makes
9 sense because energy is consumed by people and businesses,
10 so it's obviously linked to demographics and to economic
11 activity. For these drivers, we rely on historical data
12 and forecasts created by other state agencies and other
13 external entities. We use regression to establish
14 relationships between historical energy demand and
15 historical economic and demographic variables, and then we
16 use the forecasts for those variables to extend that
17 relationship into the future.

18 For electricity, we forecast for eight different
19 planning areas, which are further divided into a total of
20 20 different geographic zones. For gas, we forecast the
21 service territories for the three main gas utilities: PG&E,
22 SCG, and SDG&E, plus an "OTHER" category.

23 So we track these economic and demographic
24 variables not just at the statewide level but at the
25 forecast zone level. The charts that I'm going to show are

1 statewide, but our models are actually run at the more
2 granular levels.

3 The most important demographic variables we look
4 at are population and households. For economics, we track
5 a lot of different metrics of economic trends. Not all of
6 them are used in every forecast. The modelers for
7 different economic sectors, such as commercial or
8 industrial, select the variables that are the best
9 predictors of energy demand, but even when they're not used
10 directly these quantities provide important context and
11 insight into trends.

12 The next slide is a little more background
13 information.

14 In the past, low, mid, and high inputs were used
15 to create low, mid, and high energy forecasts. We haven't
16 done this the last few cycles because the impacts of policy
17 and technology changes have a greater magnitude than the
18 impacts of economic and demographic changes, and those
19 potential policy and technology changes are captured in our
20 additional achievable load modifiers used in the planning
21 and local reliability scenarios that Heidi was just
22 describing. We do review low and high economic cases, but
23 at least for now we're still planning to use a single mid
24 set of inputs for the forecast.

25 We have data on many variables. This

1 presentation is just going to go over a few key ones, which
2 are shown on this slide, and the demographic data comes
3 from California's Department of Finance and the economic
4 data comes from Moody's Analytics.

5 The California Department of Finance, or DOF, was
6 created to serve as the official demographic source for
7 state planning and budgeting. It's used by a variety of
8 entities. They conduct annual fine-tuning surveys to
9 accurately estimate population and households, and these
10 baseline estimates are anchored to the most recent census
11 data. So we use DOF because for the State of California,
12 it's ultimately more accurate given the extra effort they
13 go through.

14 Moody's population data also uses the latest
15 census information, but they use a top-down methodology, so
16 the assumptions that go into creating their growth rates
17 derive from their national forecasts, and they also don't
18 have as many buckets of population type. So we don't
19 directly use their demographic data except for comparison
20 purposes, which in general Moody's population is usually a
21 little more pessimistic, but the trends are similar because
22 the trends are nationwide, which are right now primarily
23 low birth rates and the impacts of immigration policy.

24 Moody's Analytics has a full suite of economic
25 data, so we use them for all of our economic variables,

1 just keeping in mind that, again, Moody's forecast
2 methodology is top-down, so the state and county-level data
3 is driven by the national forecast.

4 Next slide. Next slide, please. Thanks.

5 Before we look at the actual numbers, I'll go
6 over some key changes we've observed so far. To start
7 with, we should acknowledge what's probably at the
8 forefront of everyone's mind, which we've already discussed
9 a bit: the impacts of tariffs and immigration policy and
10 other actions from the new federal government this year.

11 According to our economists, forecasting economic
12 and demographic trends during the current administration is
13 notably complex due to elevated economic uncertainty,
14 stemming from rapid policy shifts, trade disruptions, and
15 regulatory volatility. The high level of uncertainty of
16 fiscal and immigration policy measures introduces
17 substantial variability into standard modeling assumptions.
18 This impedes accurate long-term projections of things like
19 labor market dynamics, household formation rates, and
20 regional economic growth.

21 So high uncertainty and rapid changes obviously
22 make forecasting quite difficult. Rather than chasing
23 large swings back and forth in tariffs and other policies,
24 both DOF and Moody's seem to have been cautious in their
25 predictions, so as a result, the current demographic and

1 economic numbers are not wildly different than last year,
2 although there are significant impacts, of course.

3 And as Heidi mentioned earlier, this data is from
4 May, so the direct impacts of tariffs are not yet fully
5 present in the data, and there's still significant ongoing
6 changes to policies anyways, so the tariffs can't be
7 directly represented in the 2025 IEPR forecast.

8 But that's not to say that these policy changes
9 aren't showing up at all though in this data. In the
10 economic variables, we do see somewhat of a slowdown in the
11 near term, followed by a rebound a few years later, and
12 then a return to long-term trends, which are consistent
13 with previous forecasts. So this is what we're planning to
14 use for the 2025 IEPR forecast input, just keeping in mind
15 there's still a high amount of uncertainty present,
16 especially in the near future. The economic slowdown may
17 be worse than what these predictions show, especially given
18 recent reports about inflation and unemployment.

19 Just going back to the slide here, demographic
20 variables also have some uncertainty. Population is lower,
21 although still similar to previous projections. The number
22 of households are higher than previous forecasts because of
23 an ongoing trend towards smaller households.

24 Some key economic assumptions for Moody's May
25 forecast are slower growth in the near term, 2025 and 2026,

1 with a hopeful rebound in 27-28. They assume that
2 extremely high tariffs, including those on China, will
3 prove to be brief, but tariffs overall do remain higher
4 than last year through the end of this presidential term.
5 They assume that some kind of global trade war is expected,
6 which will negatively affect the U.S. economy. For
7 example, homebuilders are feeling the challenge of tariffs
8 with rising material costs, and deportations also shrink
9 construction labor. An increased uncertainty on the labor
10 market is basically impacting all employment sectors. So
11 we haven't run our models with this data yet, but the
12 likely impacts on the forecasts are that more households
13 will increase energy consumption in the residential sector,
14 and economic slowdown will reduce energy demand in the
15 short-term across all sectors.

16 Next slide. One more, please. Thanks.

17 So let's get into demographics first. The new
18 population forecast is the blue line, the red dashed line
19 is last year, and the green smaller dashed line is the year
20 before that. So you can see that 2024's data in the red
21 line showed a return to positive growth compared to 2023.
22 This year is lower but still positive, and shows basically
23 sustainable population growth over the forecast period.
24 The reduction is most pronounced in the most populous areas
25 of the state, San Francisco and Los Angeles. The main

1 drivers for this are lower fertility rates and changes in
2 immigration demographics, specifically a shift from ages in
3 which immigrants were almost certain to have children to
4 older immigrants where the likelihood is smaller. I didn't
5 include a chart showing population by age in this
6 presentation, but we do track that and the cohort of ages 5
7 to 17 is lower than previously forecast. And these slides
8 also have an appendix which shows population for each of
9 the planning areas separately, so in case anyone wants to
10 review their area.

11 Historically there's a gap between SCE and PG&E,
12 with SCE having a higher population but the gap narrowing
13 over time. So the total population for PG&E planning area
14 starts approaching SCE towards the end of the forecast
15 horizon. This narrowing of the gap between Northern and
16 Southern California is due to relatively more favorable
17 assumptions for fertility, life expectancy, and births in
18 Northern California, and this trend has been consistent
19 over the past few IEPRs and continues this year, although
20 it's slightly less pronounced.

21 Next slide.

22 Last year in 2024, there was a revision to
23 historical households, resulting in a higher starting point
24 compared to the 2023 data. This year there was also an
25 update incorporating better intercensal data, which

1 improved the historical accuracy but didn't change the
2 starting point of the forecast. The gray historical line
3 there is from the revised 2025 data.

4 This year we see a steeper rise in number of
5 households, especially in the near term. The reason this
6 is growing faster even though population is growing slower
7 is that people are living in smaller households. This
8 trend was already present in past years, but the latest
9 data shows it increasing. And this is due to housing
10 development patterns such as rises in single-person
11 households, couples without kids, single-parent households,
12 increased number of multifamily units with more people
13 living in smaller units. These all lead to an increase in
14 households without a corresponding increase in population.
15 And lower birth rates mean people are delaying marriage and
16 childbearing, causing them to live alone longer, so there's
17 a decreased doubling up of adults living with parents.

18 For example, if a family consisting of five
19 members, two parents, and three children, as the children
20 reach adulthood, they would establish their own households
21 but don't immediately have children, so that results in a
22 total of four households instead of one, but without
23 increasing the total population.

24 And this goes along with a shift towards smaller
25 housing units, more condos, apartments, and ADUs, and those

1 are usually for singles, single parents, or childless
2 adults. Again, boosting household growth but not
3 population.

4 And lastly, an aging population is also a factor.
5 People are living longer and living independently for
6 longer or aging in place.

7 Next slide, please.

8 This is just to show the same point a little more
9 clearly, that households are getting smaller. This is just
10 the data from the last two charts put together, population
11 divided by households. So population is slightly lower,
12 but households in the denominator is larger. So overall,
13 the quantity is decreasing.

14 The one other factor to mention is a marginal
15 decline in rental costs that persists in some areas of the
16 state, which allows for an increase in household formation.
17 This trend does not extend to major metropolitan regions,
18 such as coastal Southern California, where rental costs are
19 still elevated. In fact, the housing inventory declined
20 there following the wildfires, resulting in sustained high
21 property prices and limited supply, and that kind of market
22 condition would typically incentivize construction
23 activity, but there's still several uncertainties there,
24 like construction costs are volatile and labor shortages
25 are -- are happening. So that's a good segue into

1 economics.

2 So next slide. And one more.

3 Personal income. So this is the same color
4 scheme, and all these series are in 2024 dollars. The 2025
5 data has a higher starting point than 2024, but there's a
6 dip in the growth rate in the next few years. So the
7 series is kind of more wavy, but recovers to end on a
8 similar long-term growth rate as the previous vintages and
9 lands kind of right in between them in magnitude. It is
10 hard to know how big that initial dip will end up being.
11 Labor shortages, budget uncertainties, tariffs, and AI
12 technology continue to make employment volatility remain
13 above average.

14 Note that AI innovation, it might be associated
15 with some specific new jobs, but overall likely means less
16 total jobs in the tech sector and thus less income, and I
17 think we're seeing that already. Rapid advancements in AI
18 are driving widespread layoffs, specifically in Silicon
19 Valley and the Bay Area. And it's disruptions to high-wage
20 employment, engineering, analytics roles, which impacts
21 consumer spending and even could pose long-term challenges
22 to the stability of the region because it's tied to tax
23 revenue, et cetera.

24 Next slide, please.

25 So for gross state product, these lines might be

1 a little harder to see, but it's a similar shape as the
2 previous slide. We had a higher starting point due to
3 historical data revisions, but slower growth in the near
4 future. And then a return to long-term growth that's
5 similar to our previous vintages. And just note that most
6 of our modeling, we usually use the growth rates for these
7 variables as inputs. So the exact starting point doesn't
8 matter as much.

9 And again, of course, I just wanted to mention
10 the high uncertainty associated with federal policy. Right
11 now, the uncertainty itself and perhaps some preliminary
12 effects of tariffs appear to be slowing the gross state
13 product, but it's possible that tariffs and other policies
14 will have a bigger effect than this, causing a bigger
15 slowdown. Recent reports on inflation and employment might
16 indicate that.

17 Next slide.

18 Manufacturing output. This has been indexed to
19 an arbitrary value of 100 in 2024, just to compare with the
20 previous vintages. You can see that manufacturing output
21 is lower in the near term than the last two forecasts, and
22 to some extent, this reflects changes in immigration and
23 trade policy and broader uncertainty. But we should also
24 mention that the 2024 historical data was weaker than
25 initially expected, so it was revised downward also.

1 Volatility in manufacturing is due to global
2 trade uncertainty, shifting international agreements,
3 tariffs, trade wars lead to disrupted supply chains and
4 volatility in import-export flows. California is home to
5 nation's largest ports, as touched on earlier, and they
6 face disproportionate impacts. Fluctuations in cargo
7 volumes at Los Angeles, Long Beach, and Oakland would
8 affect employment, logistics infrastructure, and broader
9 regional economic stability, which in turn would negatively
10 impact our economy.

11 But we do see a recovery and a return to growth
12 in the forecast. Manufacturing will still play an
13 important role in our economy, supporting high-wage jobs
14 and small businesses and part of, you know, a global supply
15 chain.

16 Next slide.

17 So commercial employment. This is a key input
18 for our commercial sector, and we define commercial
19 employment as total non-ag employment minus construction,
20 manufacturing, and natural resources. So some of the areas
21 like agriculture and construction that are being impacted
22 most by immigration policy are not reflected in this
23 specific chart, but they will be inputs into our energy
24 forecasts for those sectors, for ag and construction. Even
25 without those, you still see an obvious slowdown here over

1 the next few years. And flatter growth is also due to the
2 Bureau of Labor Statistics' revisions a few months ago,
3 lowering historical estimates, where 2024 ended up being
4 weaker than anticipated. Last year, high interest rates
5 and inflation were weighing on producer sentiment.

6 And the BLS revisions from last week would show
7 an even weaker job growth for 2025, although that's not in
8 this chart. And that's probably due to cuts made by the
9 Department of Government Efficiency that might be showing
10 up in the more recent data, and just in general, layoffs in
11 big companies, which has a domino effect to other areas.

12 And impacts from the federal administration.
13 Economic uncertainty in general just appears to be slowing
14 employment. So since we're using the May vintage, that
15 most recent updated jobs report is not in our forecast, but
16 some of the drivers for that downward revision, such as
17 tech sector layoffs, are kind of a continuation of existing
18 trends that Moody's was already tracking and accounting
19 for. Main drivers for employment continue to be technology
20 and innovation type jobs; manufacturing, like aerospace,
21 defense; and healthcare. Notably the healthcare sector
22 experienced significant growth last year, with projections
23 indicating potential continued expansion through the rest
24 of this year, which is contingent on the absence of policy
25 interventions like budget cuts.

1 Conversely, sectors such as transportation and
2 warehousing have the most uncertainty due to impacts from
3 immigration enforcement actions, tariffs, and federal
4 policy modifications resulting from budgetary reductions.
5 Similar uncertainty in the education sector, which faces
6 some funding threats. So, yeah, still lots of open
7 questions, but this is the data that we'll be using for the
8 forecast this year.

9 So next slide.

10 I think that's it.

11 So we'll go to questions from the dais first.

12 VICE CHAIR GUNDA: Matt, I don't have questions.
13 I mean, I'm tracking much of the information.

14 Maybe just one quick clarification on how locked
15 the assumptions are at the moment, especially on the
16 employment side that you just mentioned. Are we planning
17 to make any further adjustments before the final forecast
18 is run, or -- and if you're just going to talk to that,
19 that would be helpful.

20 MR. COOPER: Yeah. We're not planning to. This
21 is a question, obviously, that we talked about this last
22 year, I think, also, that, you know, we kind of have to
23 have a cutoff point for our data. The Bureau of Labor
24 Statistics data goes to Moody's. Moody's goes to us. Our
25 data branch does a lot of work to, you know, organize and

1 clean the data and assign it to forecast zones. And so we
2 kind of -- for our forecasting process, we do have to have
3 a cutoff somewhere.

4 And I would say there was a downward revision,
5 but it was part of sort of an existing, sort of ongoing
6 trends, like I mentioned, the tech sector decreasing. And
7 so I don't know that -- we haven't run the data in our
8 model, so I couldn't specify exactly what the impact would
9 be, but I think that the trends are not particularly
10 changed.

11 Yeah. Does that answer it?

12 VICE CHAIR GUNDA: Oh yeah. Absolutely. Thank
13 you, Matt. I will pass to other commissioners and reserve
14 some time for the Q&A, from public Q&A.

15 So I'll pass to Commissioner McAllister. And I
16 saw Commissioner Matt Baker come --

17 COMMISSIONER MCALLISTER: Yeah. Commissioner
18 Baker was on first.

19 Commissioner Baker, if you want to go first,
20 that's fine. Or not, no.

21 So I just -- sorry. A quick question about, I
22 guess I'm wondering, you know, you totally get -- you know,
23 you have to have a cutoff. And I think that's, you know,
24 understandable and, you know, an annual kind of, okay, we
25 got pencils down on some of this stuff, so we can actually

1 do the analysis.

2 I guess I'm wondering, with all the federal
3 uncertainty, and particularly around immigration, which,
4 you know -- I guess I'm wondering sort of if that's at the
5 margins of your analysis, and maybe not, you know, relevant
6 for this work. But it certainly seems like, you know,
7 tight labor market, sort of the uncertainty around -- you
8 know, it's maybe a small relative population, but maybe has
9 outsized impacts on actual economic participation. And in
10 some key sectors like agriculture, and probably, you know,
11 construction, a bunch of others.

12 I'm wondering if that's something that's on the
13 radar, or, you know, you're sort of, how are you
14 managing -- how are you paying attention to that to see if
15 it actually is big enough to move the needle?

16 MR. COOPER: Yeah. Yeah, I agree that I think
17 the way you phrased that was an insightful point, that the
18 actual numbers -- the impact is probably bigger than the
19 actual numbers. And yeah, construction, just anecdotally,
20 of course, I've heard that in construction and agriculture.
21 I haven't discussed this with our agriculture forecaster,
22 so I'd be curious to dig into that further, I guess. I
23 think we're meeting next week to talk about sector
24 forecasts. So it's definitely on our radar. I guess I
25 can't speak to specifically how we're going to -- whether

1 or how we might make any adjustment for that. I'm not sure
2 at this point.

3 COMMISSIONER MCALLISTER: Yeah. I mean, there's
4 so much uncertainty at the federal level, and the impacts
5 are really hard to tell. I mean, it seems like things
6 change every day. So, but just curious. We'd love to just
7 hear how that conversation goes.

8 MR. COOPER: Sure. Yeah. Thanks for
9 highlighting it.

10 COMMISSIONER MCALLISTER: You bet.

11 VICE CHAIR GUNDA: Yeah, Commissioner McAllister,
12 to that point, I think I just want to just kind of uplift
13 your question on that one. This has been an active
14 conversation within the JASC process as well on, just to
15 your point, how does the uncertainty propagate downstream?
16 How big are the magnitudes? So there's a few different
17 consultants that are being contacted.

18 But I think to your point, the staff are starting
19 to look at, for example, all the way from coincidence of
20 loads on the distribution grid, and if there's a megawatt
21 change upstream, how does that flow down, right? And all
22 the way from the variable. So I think there are some
23 uncertainty analysis and the risk analysis that are being
24 contemplated. But I think that's a really, really
25 important point you just made.

1 It should be Commissioner Baker.

2 Okay. Go for it.

3 MR. BAKER: Yeah, I apologize. You asked my
4 question, Commissioner Gunda. So I'm good.

5 VICE CHAIR GUNDA: Okay. Great. Thank you.

6 So then I'll pass it to Heidi for the Q&A.

7 MS. JAVANBAKHT: Okay. We at the moment just
8 have one question in the Q&A.

9 And Mathew, I'll let you take your best stab at
10 this one. We have some thoughts that Asish or I could add
11 as well.

12 So the question is from Andrew, and it asks, do
13 you plan to include any long-term adjustment for commercial
14 versus residential load due to work from home or similar
15 post-COVID changes, or is that assumed embedded in the data
16 at this point? Or do you have some other take on this
17 issue?

18 MR. COOPER: Yeah. Great question.

19 The COVID years, specifically 2020 and 2021, were
20 definitely impacted quite a bit. At this point, I think
21 there is probably enough data. Basically, we assume, I
22 think, that it's going to be embedded in the data. So we
23 don't have any direct adjustment that we're planning to
24 make as far as, like, return to office policies or anything
25 like that. Yeah. We're assuming that's embedded in the

1 data, sort of trends from the last several years.

2 But yeah, thanks. That's a good question.

3 Heidi or Asish, if you want to add anything.

4 MS. JAVANBAKHT: No. That was perfect. Thanks.

5 And there's no other questions. So I think we
6 can move on to Asish's presentation. Thanks, Mathew.

7 So next up we've got Asish Gautam talking about
8 incorporating new load energization requests to utilities.

9 MR. GAUTAM: Thank you, Heidi.

10 Good morning everyone. My name is Asish Gautam,
11 and I'm one of the staff members of the Energy Assessments
12 Office, and I'll be providing an overview of how we plan to
13 incorporate information on energization requests by
14 customers of the investor-owned utilities for this year's
15 IEPR demand forecast.

16 These energization requests are captured in a
17 data source referred to as a known loads database, so I'll
18 be referring to this data set throughout my presentation.
19 We're looking to use the known loads data as a new source
20 of information to inform near-term load growth for the IEPR
21 demand forecast.

22 As a way of background, the known loads data
23 comes to us via the CPUC's High DER proceeding. The CPEC's
24 High DER proceeding encourages proactive distribution
25 planning by utilities to meet various goals, including

1 building and transportation electrification. One important
2 goal of this proceeding is to identify local areas in need
3 of infrastructure investments for future GRC funding
4 cycles. As part of distribution planning, the IOUs are
5 including customer load requests captured through the known
6 loads database for consideration in distribution planning.

7 Unlike much of recent history where load has been
8 relatively flat, utilities are now expecting an increase in
9 load from customers. Drivers of new load growth include
10 state policies to promote decarbonization in buildings and
11 transportation sector, plus growth driven by specific
12 industries such as the technology sector in the case of
13 data centers, for example. Just an example of load types
14 included in the known loads include residential tract home
15 developments, commercial buildings, EV charging stations,
16 there's some data centers in there, and indoor cannabis
17 cultivation. These new sources of load growth bring new
18 challenges for distribution planning.

19 In the past, large projects such as residential
20 tract home development or shopping malls or industrial
21 facilities required long-term planning related to land
22 acquisition, building permits, and environmental review.
23 This long lead time for these projects help utilities plan
24 upgrades and investments to the distribution system so that
25 these projects could be energized in a timely manner.

1 However, the recent load growth, aside from the volume of
2 load energization requests, some of these new load types
3 tend to be characterized by rapid construction time and
4 high load intensity relative to the location on the
5 distribution system. As an example, as I understand it, a
6 commercial EV charging station can be constructed in months
7 but can request over a megawatt capacity.

8 Next slide, please.

9 I would like to briefly describe what we've done
10 so far on this project. We worked with staff on the CPUC
11 to issue a joint data request to the investor-owned
12 utilities to collect project-level data from the known
13 loads data set, and we do acknowledge and appreciate the
14 help of CPUC staff in facilitating this data request
15 process. This data set captures requests by utility
16 customers to energize load and is considered to have a high
17 degree of certainty that the projects will move forward.

18 And again, to emphasize, we are looking at the
19 known loads data to help bridge the gap in load growth
20 occurring in the near term that is difficult to forecast
21 from a top-down system-level forecast using long-term
22 economic and demographic drivers. We plan to apply load
23 profiles and incorporate the known loads data as part of
24 our baseline sales by sector, and also, for a subset of
25 completed known loads projects, we are interested in

1 studying the AMI data to better understand the trends and
2 have a better understanding of variation in load for some
3 of these customers.

4 Next slide, please.

5 Next we wanted to share preliminary thoughts on
6 how we may go about including the impacts from the known
7 loads data in a way that allows us to reconcile the growth
8 that's embedded in the IEPR demand forecast -- the baseline
9 IEPR demand forecast from the perspective of avoiding
10 double counting.

11 Our recommendation is to compare growth on an
12 annual basis by energy for the major sector category. So
13 this would be the residential class, the commercial class,
14 and the commercial sector, for example.

15 I have an illustrative table here to kind of talk
16 through what we're thinking about in terms of accounting
17 for growth from known loads. So as an example I'm using
18 the residential sector, like I said as an example. As we
19 go through preparing our baseline sales forecast from the
20 IEPR, we expect the residential sector to have an increase
21 in sales by 1,000 megawatt hours, but when we look at the
22 known loads data for all the different residential
23 development projects, when we add up the capacity, apply
24 load shapes, and translate the capacity to energy and we
25 expect that in, for example, 2027 that there'll be 1,200

1 megawatt hours of incremental energy for that year, we plan
2 to do is to account for the net difference between the
3 known loads and the IEPR forecast. So, in this example, we
4 would add the 200 megawatt hours of extra energy from the
5 known loads to our IEPR baseline sales for the residential
6 sector.

7 And this will eventually feed to our -- be an
8 input to our hourly load forecast. And then we also
9 propose that other load modifiers in the known loads
10 database, such as EV charging stations and data centers, be
11 handled using the process we use for the 2024 IEPR.

12 Next slide, please.

13 This table is meant to illustrate at a high level
14 how known loads data could impact the IEPR system peak
15 forecast. To prepare this table, what I did was take
16 the -- I summed up the capacity by the different load
17 types, and that's reflected in the second column there
18 called total capacity. And this is for the three different
19 IUs. There's San Diego on the top, Edison in the middle,
20 and PG&E on the bottom.

21 Basically, again, I aggregated the capacity
22 requested by customers by the date when the requested load
23 to be available to them. So, you can see in 2026, in the
24 case of SDG&E, we expect 88 megawatts of customer load to
25 be coming online, and then the next three columns next to

1 it, I just kind of did a sensitivity analysis to show,
2 depending on how coincident this capacity coming online is
3 with the overall system, what the impact to system peak
4 could be. So the third column there labeled 10 percent.
5 If we expect 10 percent of the load to be coincident with
6 the system peak, I just took 10 percent of the 88
7 megawatts, so we would expect that 9 megawatts should be
8 added to the overall system peak. And then similar manner
9 for the other percentiles there. There's a 20 and 50
10 percent.

11 The last column, what I did was take the annual
12 growth and peak from our 2024 local reliability scenario.
13 And one of the things that stands out is the capacity we
14 expect coming from the known loads exceeds the growth in
15 the 1-in-10 peak from the 2024 IEPR. So depending on how
16 coincident known load projects are with the utility system
17 peak, known loads could significantly drive peak demand in
18 future -- be a significant driver of peak demand. And so
19 for this reason we recommend that impacts from known loads
20 data be only included for the local reliability scenario.
21 And this is to limit downstream impacts to other
22 proceedings that rely on the IEPR. But given the overall
23 magnitude of customer load, we think that in future IEPR
24 cycles could include the known loads in the planning
25 scenario.

1 Okay. Next slide, please.

2 We just wanted to discuss our next steps for the
3 near term. We would like to continue working on processing
4 the known loads dataset. There's some outstanding
5 questions we have. We're trying to get some resolution
6 with utilities. We also want to work with the utilities on
7 a data format and on frequency of getting this data for
8 next IEPR cycles. We're also interested in other sources
9 of load growth, such as the pending loads data, and we
10 think this could be helpful to inform our scenarios in
11 future IEPR cycles. For the long term, we plan to explore
12 new models and tools that can help bridge the IEPR
13 system-level forecast with enough granularity to better
14 support both distribution and long-term system planning.

15 One area we hope to explore as part of this
16 project is to understand how projects with known loads and
17 other load modifiers such as data centers and EV charging
18 stations can impact local areas, such as the magnitude of
19 load growth or incremental load growth, and how load growth
20 in local areas could change when these local areas peak
21 relative to the overall system and what the implications
22 are for both local and system planning. Internally we're
23 looking to explore funding opportunities and resource
24 requirements to support this.

25 Next slide.

1 That's the end of my presentation. I'll take any
2 questions.

3 VICE CHAIR GUNDA: I just want to say thanks for
4 all the good work. I think there's a lot of great
5 information that's coming from both the IOUs, but also CPUC
6 staff. So I just want to make sure I extend my gratitude
7 there.

8 I don't have any other question other than just a
9 thanks, and I'm tracking the information you provided.
10 I'll pass it to Commissioner Baker for his questions.

11 MR. BAKER: Yeah. I have two questions. If the
12 known loads in your presentation are included in the local
13 reliability scenario, does that mean they'll be part of
14 CAISO's annual load capacity area study process?

15 MR. GAUTAM: Yeah, they'll be part of the TPP.

16 MR. BAKER: Cool. And then my second question
17 is, just in your informed opinion, you know, which of the
18 percentage sensitivities would you argue are -- let's just
19 say this is gut check, okay -- you know, would be most
20 reasonable? If we know -- maybe I'm tipping my hand here,
21 but if the known load has a high capacity factor, wouldn't
22 we expect to see their coincident contribution to be
23 somewhat higher than 50 percent?

24 But I'll let you answer.

25 MR. GAUTAM: That's a great question. Good

1 point.

2 Right now I think we see more of the projects
3 from the commercial side, I think about nearly 60 percent
4 for San Diego, just a little over a third for Edison, and
5 just under 50 percent for PG&E. So these sectors typically
6 have a higher load factor than say a residential class, so
7 I would expect it to be higher.

8 But to be honest, at this point, we're just too
9 early on in our process to make that kind of a
10 determination.

11 MR. BAKER: Great. Thank you. Excellent
12 presentation.

13 VICE CHAIR GUNDA: Thank you, Asish.

14 Let's see. Commissioner McAllister.

15 COMMISSIONER MCALLISTER: Yeah. I agree.

16 Sort of building on what Commissioner Baker just
17 asked, going forward, how sort of dialed in do you
18 anticipate being on the actual load shapes of these known
19 loads? So, what's the nature of the sort of data gathering
20 and assessment that you're doing, just to appreciate where
21 there might or might not be coincident, and try to sort of
22 suss out a relationship between capacity factor or load
23 factor, and then system capacity factor. Individual loads
24 or aggregated loads -- load factor, and how that relates to
25 system capacity.

1 MR. GAUTAM: Yeah. Thank you for that question,
2 Commissioner McAllister.

3 So we have received some load shape data from
4 utilities as part of this data request. The bulk --
5 actually all of them are at the utility service area level,
6 so it's not as reflective of local conditions. So for
7 example a residential development in a coastal area should
8 have a different shape than, say, something in the inland.
9 So these are the things we want to try to address in some
10 of our work, looking at completed projects.

11 We also are looking at some work done by some of
12 our vendors. Recurve has done similar shape. So we want
13 to look at how we can maybe possibly use some of these more
14 granular shapes that maybe match some of our forecast
15 products more closely.

16 COMMISSIONER MCALLISTER: Okay. Great. Great.
17 I love that. That's kind of where I was going with this.

18 And now that we have a pipeline from utilities
19 with the interval meter data, it's not sort of yesterday's
20 data, but a few months aged. But for forecasting purposes,
21 I think we're building that in and trying to, you know,
22 really understand in an increasingly nuanced way how load
23 shaping impacts and, you know, mapping onto that the
24 potential for policies to actually shift those load shapes.

25 MR. GAUTAM: Yeah.

1 COMMISSIONER MCALLISTER: So I love this
2 advancement. So thanks for your presentation. I love it.

3 VICE CHAIR GUNDA: Thank you Commissioner
4 McAllister, Commissioner Baker, for both those questions.
5 I think, just continues to reiterate the need for kind of
6 the understanding of coincidence factors and optimizing the
7 planning to both meet reliability and also benefit
8 ratepayers. So really appreciate those questions and
9 insights, but then I'll pass it to Heidi.

10 MS. JAVANBAKHT: Yeah. Thanks.

11 So Asish, we have several questions in the Q&A.
12 And the first actually came in before you touched on the
13 pending loads, but I'll repeat the question -- well, so you
14 can repeat the answer, I guess.

15 So the question is from Charlie Alcock. Will any
16 of the pending load forecasts the utilities are developing
17 be incorporated in the IEPR forecast?

18 MR. GAUTAM: Our plan is to work with utilities
19 and CPUC staff to look at the pending loads for the 2026
20 IEPR. For this IEPR, we're sticking with the known loads.

21 One issue is that I think the known loads data,
22 there's some standardization issue across the utilities are
23 still being worked out. As I understand, there will be --
24 the process will take most of the year to work through. So
25 we are looking at pending loads, but not for this IEPR.

1 MS. JAVANBAKHT: Okay. And then I think just a
2 clarification on the table that was on slide five. So this
3 is a question from Sam (phonetic).

4 Slide five on the peak coincident load impacts
5 appeared to show inconsistent results between utilities in
6 the final column, with PG&E shown with particularly higher
7 numbers. Could you review, explain the final column?

8 MR. GAUTAM: Okay. Yeah. So the final column is
9 actually not part of the sensitivity analysis there. The
10 final column, the numbers there come from a 2024 IEPR Local
11 Reliability Scenario, and it's just meant to illustrate
12 what the growth in 1-in-10 peak was from the last forecast
13 and sort of comparing it as a sensitivity to the known
14 loads data.

15 MS. JAVANBAKHT: Yeah. So comparing the CEC
16 forecast values to the utility known load data.

17 MR. GAUTAM: Yeah. Yeah.

18 And it's just meant to illustrate depending on
19 how coincident these loads are, the known loads could start
20 to exceed what we had as growth for the 1-in-10 scenario
21 from last year. So that's all.

22 MS. JAVANBAKHT: Okay. We have a question from
23 Doug Karpa.

24 If the IOUs provide known loads, presumably they
25 also know which LSE service territory they're located in.

1 What are staff's thoughts on assigning those known loads to
2 the specific LSE instead of peanut buttering across all the
3 LSEs?

4 MR. GAUTAM: Yeah. So as part of a data request,
5 we did ask the utilities to provide information where the
6 LSE that's responsible for procurement for these projects.
7 I think the initial look is that there's still some data
8 gaps in terms of there's a lot of missing information on
9 the LSE field. So we do plan to go back and ask the
10 utilities to help fill that gap up. But we are definitely
11 not planning to peanut butter the load growth from known
12 loads to different LSEs. We do want to try to reflect
13 where the load growth is happening and the LSE then would
14 be responsible for the procurement.

15 MS. JAVANBAKHT: And question from Simon Baker.
16 How much do data centers factor into the known
17 loads data?

18 You mentioned, Asish, that some data centers are
19 included in the known loads dataset. Is it a small
20 percentage? And is that because data center loads are
21 still considered uncertain and therefore not included in
22 the known load dataset?

23 MR. GAUTAM: Great question, Simon. So the known
24 loads only track projects on the distribution side, so
25 there's very little data centers on the distribution --

1 most in fact, if I understand correctly, are on the
2 transmission side.

3 It's also not easy to identify data centers in
4 this data. We've tried to look at NAICS (phonetic) codes
5 to identify, but it's still an ongoing analysis for now. I
6 believe Edison does track data centers as a specific
7 category in the known loads, so that's the only LSE utility
8 that we know for sure has data centers in the known loads.
9 So we still have to work and try to reconcile the data
10 centers in the known loads and the broader data center
11 analysis that we're doing with utilities to avoid double-
12 counting.

13 MS. JAVANBAKHT: All right. One last question.

14 How are you monitoring -- and this is from Claire
15 Broome -- how are you monitoring known load reported
16 information versus what actually materializes over time?

17 MR. GAUTAM: Thank you for that question, Claire.

18 So one of the things we were interested in is
19 looking and trying to understand how completed projects in
20 the known loads have performed, basically trying to compare
21 their AMI data to compare, you know, what the maximum load
22 requested in the known loads and how they've actually
23 performed as shown in the AMI data.

24 To date I think we have meter IDs from two
25 utilities, PG&E and San Diego. So we plan to do an

1 analysis this summer to look at how they've actually
2 performed versus the load they actually requested. So
3 there'll be an ongoing work that we plan to incorporate for
4 our analysis for this year's IEPR on the known loads data.

5 MS. JAVANBAKHT: And just to add to Claire's
6 question, Asish, can you talk a little bit too about, like,
7 monitoring this information and tracking over time?
8 Because this is the first year that we've had this data to
9 look at.

10 MR. GAUTAM: Yeah. One of the things we also
11 want to explore with the utilities is how to continuously
12 get the known loads data going forward. So, you know, as
13 time goes on, we'll build a track record of information for
14 the known loads that we can sort of go back and do a sample
15 and try to understand how these projects have been doing
16 long after they've come online and energized. So it's just
17 sort of part of future plans that we want to get more
18 involved in. But again, as Heidi mentioned, this is the
19 first time we've gotten this data set, and there's a lot of
20 homework we have to do to try to set that up for the
21 future.

22 MS. JAVANBAKHT: Thanks.

23 Sandra, I don't see any other questions, so I'm
24 going to hand it back to you to wrap us up.

25 MS. NAKAGAWA: Thanks, Heidi, and thanks, Asish,

1 and the whole demand forecast team.

2 We're now going to move on to public comment.

3 One person per organization may comment, and
4 comments are limited to three minutes per speaker. A
5 reminder that while we welcome your comments, we are not
6 able to respond to them during this public comment period.
7 The workshop notice does have information on how you can
8 contact us with any follow-up questions.

9 So if you would like to make a public comment,
10 please use Zoom's raise hand feature to let us know that
11 you'd like to comment. We will then call on you. Open
12 your line, make sure your audio is coming through, and
13 start the three-minute timer. So please use the raise hand
14 function if you would like to make a public comment on
15 today's workshop.

16 All right. I'm seeing one so far, and two. All
17 right. Just a second here. All right. Working on
18 unmuting lines.

19 All right. Claire Broome, I'm going to allow you
20 to talk and ask you to unmute. Can you check your audio,
21 Claire, to see if it is working?

22 MS. BROOME: Okay. Is it working?

23 MS. NAKAGAWA: All right. You are coming in loud
24 and clear. I am going to now share a timer, and you will
25 be able to start right now. Go ahead.

1 MS. BROOME: Thanks so much to the Commission and
2 all the staff, and as well as the CPUC for this really
3 important discussion.

4 I'd like to return to the importance of front-of-
5 the-meter on the distribution grid resources. We're all
6 aware of the enormous uncertainty facing us and the
7 challenges in having sufficient transmission
8 infrastructure. We're also very aware that transmission
9 and distribution infrastructure are the most rapidly
10 increasing parts of California electricity bills, which are
11 already extremely high.

12 I'm commenting for 350 Bay Area. We care about
13 the environment. We care about rate-payer bills. I
14 would -- I understand you're looking at this. I'm really
15 happy to hear that, but the potential for front-of-the-
16 meter resources on the distribution grid, particularly
17 storage, to meet local demand locally, it alleviates
18 pressure on the transmission grid, and it is, I would
19 argue, a key tool for getting the load flexibility that
20 you're very interested in. Currently you have a lot of
21 these data but it's very hard to separate front-of-the-
22 meter that requires transmission from front-of-the-meter
23 resources which are on the distribution grid. I hope it
24 becomes possible.

25 And the other complexity is front-of-the-meter

1 storage on the DG can be demand modification, but it also
2 can be supply. I recognize these difficulties, but I would
3 urge you strongly to incorporate these resources into your
4 planning sooner rather than later, both to have more rapid
5 interconnections, to have cleaner local resources, and to
6 spare ratepayer accelerating costs.

7 Thanks so much.

8 MS. NAKAGAWA: All right. Thank you, Claire.

9 We're now going to move to Eric Little. Eric, if
10 you can unmute your line and check your audio.

11 MR. LITTLE: Thank you. Am I here?

12 MS. NAKAGAWA: Yes. You're coming through loud
13 and clear. I am going to set the timer. Go ahead.

14 MR. LITTLE: Thank you. So thank you for talking
15 about this very important topic today. My name is Eric
16 Little. I'm the Director of Market Design for CalCCA, and
17 we are very interested in having accuracy of load
18 forecasts.

19 I think it's very important to reiterate what
20 Commissioner Gunda said early on. I'll say it a little bit
21 differently.

22 This is a lot like riding a mountain bike on a
23 ridgeline. Any turn too far in either direction has some
24 serious consequences. If we under-forecast, we miss
25 reliability. We miss meeting clean energy standards. If

1 we over-forecast, we do it at the risk of significantly
2 increased costs to customers. So making sure that we hit
3 that line as tightly as we can is a very important thing
4 for us to do.

5 The data center load growth has become a very big
6 and very important issue. It's new. It's uncertain. And
7 as Heidi had mentioned, there was a discussion about it at
8 the DAWG. And I'll give you a couple of quotes from
9 presentations from that.

10 One was from PG&E, and it says, for multiple
11 forecast cycles, forecasts will likely be highly uncertain
12 due to the nascency of the data center technology and
13 markets and due to the complexity of data center projects.
14 Edison noted that of the 43 projects they tracked last
15 year, they increased the likelihood of eight projects and
16 decreased the likelihood of 19 projects, leaving the other
17 16 unaffected. All of this has serious implications on
18 what we do in terms of resource adequacy.

19 The question that Doug asked about peanut
20 buttering versus specific costs being attributed to --
21 well, specific needs being attributed to LSEs, and
22 Commissioner Baker mentioned it early on as well, of not
23 having load shift -- well, not having cost shifting. If we
24 spread that to all loads, it cost shifts. But if we put it
25 on the correct entities, it has serious implications.

1 The slide that Asish showed had 1630 megawatts of
2 capacity growth from the known loads for 2026. Now what
3 percentage of that is coincident is still to be determined,
4 but when you look at that as a system as a whole, it may
5 not be that big of a deal. But if put on a small LSE, that
6 could be a doubling, tripling, or even more of their load.
7 And if it doesn't materialize, those costs will be borne by
8 those few number of customers, so we need to make sure that
9 we're very accurate in that.

10 The way to do that? We work together. CEC,
11 CPUC, and the other parties perfecting that load forecast
12 in concert. Getting the information early on. Getting
13 knowledge of what's happening in the known loads and what
14 they can expect to be coming. We think that given the size
15 of that data center, we really need a dedicated workstream
16 to be able to consider those issues together.

17 So I thank you for taking up this important
18 topic, and I thank you for hearing us out today.

19 MS. NAKAGAWA: All right. Thank you, Eric.

20 We're going to now move to Doug Karpa.

21 Doug, I'm going to open your line, ask you to
22 unmute, to check the audio.

23 MR. KARPA: Okay. I think I pulled it off. I
24 should be unmuted.

25 MS. NAKAGAWA: We can hear you. Please go ahead

1 and start. Thanks.

2 MR. KARPA: Yeah. No. Thanks once again to
3 various commissioners and staff. It's always great to hear
4 you engage in these issues and share your wisdom with us.

5 And I particularly was gratified to hear the
6 conversation about affordability and costs. I would point
7 out that there are also significant implications for
8 decarbonization, building electrification, because as rates
9 increase, getting an EV or electrifying a house becomes
10 less financially attractive. So, there's always those
11 knock-on effects. So, I'm glad to see that focus.

12 I did have two comments. One is a very kind of
13 newbie question, which is from the LSE perspective -- so
14 speaking from Peninsula Clean Energy -- one of the sort of
15 ongoing issues that we have is transparency into how the
16 forecasting process is done. And I'm not sure if there is
17 a single document that lays out the methodology, sort of
18 soup to nuts in a way that we can, like, really, for
19 example, replicate it. And if there is, if you could maybe
20 send it to me, and if there isn't, maybe we should work on
21 doing that, and then possibly having LSEs or stakeholders
22 take a look at that and maybe suggest improvements to sort
23 of more formalize the process. And my apologies if that
24 just reflects my ignorance of how this is done. And the
25 other comment I wanted to -- I sort of want to tag on to

1 Claire Broome's comment about trying to think about how we
2 get distribution connected in front of the meter resources
3 sort of up and running, because not only do they have
4 significant impacts for transmission planning, but we are
5 also really focused, I think, on a lot of the equity issues
6 that are implicated, because some of the main equity issues
7 around electricity focus on polluting gas plants in
8 disadvantaged communities. Many of those are in local
9 areas.

10 Getting those retired means we have to have
11 resources to replace them. Now that can either be
12 transmission into the load pocket or in front of the meter
13 distribution connected generation. And so we've been
14 taking a very hard look at the financial aspects of that.
15 and one of the key revenue streams, of course, is resource
16 adequacy. But for small projects, going through the CAISO
17 process can be very difficult.

18 So we are sort of taking a look at and would
19 invite collaboration from the Energy Commission staff to
20 think about are there ways to make those load-modifying,
21 which is generally a simpler process to do, and then could
22 unlock the finances of those projects, get them built, and
23 then we can start cleaning up air pollution in some of
24 these disadvantaged communities. And I appreciate the
25 conversations we've already had, but I just wanted to keep

1 that going forward from an LSE perspective, that we are
2 very interested in trying to get those resources online.

3 Thanks very much.

4 MS. NAKAGAWA: Great. Thank you.

5 We'll now go to Roger Lin. Roger, you can unmute
6 and test your audio.

7 MR. LIN: Thanks, Sandra. Roger Lin. I'm an
8 attorney with the Center for Biological Diversity's Energy
9 Justice Program., and two quick comments.

10 First, concur with the comments of Claire Broome
11 regarding behind the meter resources. We do need to
12 maximize those local community benefits.

13 And second, also stress the need for the IEPR
14 process to factor in and plan to aggressively regulate one
15 of the major energy turning points for California and the
16 country which is, as many have mentioned today, data
17 centers and their projected tremendous electricity demand.

18 They represent one of the most energy and water
19 intensive sectors and are expected to exponentially grow in
20 the coming years. The CEC has estimated that energy demand
21 from data centers will grow 11 percent every year from 2024
22 to 2040, and if we don't manage this unbridled data center
23 growth and its spur of potential newer continued fossil
24 fuel generation and water consumption, we add significant
25 threats to the climate, air quality, energy affordability,

1 water availability, grid stability, environmental justice,
2 and wildlife protection.

3 We appreciate the CEC developing scenarios to
4 analyze this development and request, like, the most
5 rigorous and cautious scenarios and also encourage revising
6 that 11 percent projection based on the uncertainties
7 detailed today.

8 We look forward to participating further in this
9 process, and thank you staff for all the work on it.

10 MS. NAKAGAWA: Great. Thank you, Roger.

11 If anyone else on Zoom would like to comment,
12 please raise your hand, otherwise we will go to the phone
13 lines.

14 For those who are dialed in on the phone, you can
15 hit star nine to raise your hand and then star six to mute
16 and unmute your phone line.

17 I'm not seeing any raised hands from phone lines.

18 Oh. We have one here on the Zoom. So we're
19 going to go to Kanya Dorland. You are able to unmute and
20 check your audio.

21 MS. DORLAND: Good morning. This is Kanya
22 Dorland with the Public Advocates Office. Can you hear me?

23 MS. NAKAGAWA: Yes. Go ahead.

24 MS. DORLAND: So I follow the CAISO transmission
25 planning process and often they determine the need for a

1 transmission project under an extreme scenario because a
2 certain amount of megawatts cannot be delivered. And this
3 is important.

4 But at the same time, I often wondered if the
5 load forecast could determine is there any amount of
6 megawatts in a certain load pocket that could be shifted
7 under an extreme scenario?

8 And so I'm just wondering if that kind of
9 information is provided when you're looking at demand
10 response or flexible potential to the CAISO.

11 MS. NAKAGAWA: All right. Thank you, Kanya. We
12 are not able to respond to public comment, but we will put
13 the email address for the IEPR into the chat if you do want
14 to have someone follow up with that question.

15 Last call. If there's anyone else who would like
16 to make public comment on Zoom, please use the raise hand
17 function. If you're calling in on the phone lines, you can
18 use star nine to raise your hand.

19 I'll give it another few seconds here.

20 Alrighty. And as a reminder, if you do want to
21 submit written comments, those are due by 5 p.m. on August
22 20th.

23 We'll now go back to Vice Chair Gunda for any
24 closing remarks from the dais.

25 VICE CHAIR GUNDA: Thank you, Sandra, and thank

1 you for running through the public comment.

2 And I just want to recognize Claire, Eric, Doug,
3 Roger, and Kanya. Thank you for your comments. I just,
4 you know, wanted to just observe and recognize the
5 importance of the points that you've made from capturing
6 the in front of the meter resources, specifically I think
7 the focus also on the storage and how best to integrate
8 data impact into the load forecast, load modifying, or
9 broader planning.

10 And another theme that came through was the
11 transparency of the process and the documentation, you
12 know, the coordination. And Eric really recognized the
13 importance of really being sensitive to the forecast and
14 how the breakdown of the forecast could impact smaller LSEs
15 and then the tremendous impact it could have on them.

16 And finally, Kanya, thank you for raising the
17 point around the opportunity for demand flexibility within
18 the broader transmission planning process. And I think all
19 of them, we are broadly tracking really important comments
20 and thank you for your insights. We are trying our best to
21 continue to quote unquote reduce the silos of kind of
22 different analytical products and trying to harmonize them
23 into a broader framework, all the way from resource
24 planning to reliability. So just know that we are tracking
25 your comments and we are working on them.

1 Doug, to your point on transparency, much of the
2 products today are public, I believe, but would appreciate
3 you following with CEC staff on the process and how best to
4 engage so we can continue to coordinate on getting input
5 from stakeholders who are really interested in helping
6 improve our products.

7 So again, in closing, really, really helpful
8 workshop. As always, really appreciate the diligence by
9 the CEC staff, the objectivity, and the focus on making
10 sure we have not just a single point forecast but a lot of
11 different opportunities for scenarios so we can continue to
12 stitch together a planning forecast that really fits the
13 moment in which we are in, and taking information as close
14 to adoption of the forecast as possible. So really
15 appreciate all the incredible work and the tremendous
16 effort by the CEC staff and the colleagues from PUC and
17 CAISO.

18 And Sandra, to you, your team, we cannot do this
19 workshop without you. Day in, day out, the IPA team is
20 fabulous, a wonderful team, and also want to just extend my
21 gratitude to fellow commissioners both at CEC, PUC, but
22 also leadership at both CAISO and CARB who do work on this,
23 and all the stakeholders who take their time both to come
24 into these workshops but also the dog process, the informal
25 process where so much time is spent on providing input and

1 back and forth on continuing to improve our forecasting
2 processes.

3 So again, thanks a lot. Look forward to the
4 public input that will come in and then continue to make
5 the forecast better and better.

6 With that, I'll pass it to Commissioner
7 McAllister.

8 COMMISSIONER MCALLISTER: I think you described
9 the moment we're in great, but I just wanted to extend all
10 the thanks to you as well for your guidance and leadership
11 on the forecasting process year in and year out, and really
12 great partnership with you and across the agencies, keeping
13 the IEPR vital and always improving. And just reiterate
14 that staff just really love to see both the rigor,
15 analytical rigor, but also the open-mindedness to new ideas
16 and the ability to sort of incorporate and extend the
17 approach where it makes sense. So I'm very, very
18 interested in seeing where the forecast goes this year and
19 as more data comes in and as you get closer to the final
20 product.

21 So again, appreciate President Reynolds and
22 Commissioner Baker for being with us and the leadership
23 across the agencies for their leadership.

24 So back to you, Vice Chair, or perhaps
25 Commissioner Baker wants to.

1 VICE CHAIR GUNDA: Yeah. I think both
2 Commissioner Baker and President Reynolds had to jump off.
3 So Commissioner McAllister, thank you. Thank you for your
4 comments and thank you for your inputs and insight in so
5 much of the work that we do both on the forecasting, but
6 also the incorporation of energy efficiency into the models
7 and the data side. So thank you, Commissioner McAllister.

8 Also want to just take a moment to just
9 appreciate former Chair Bob Weisenmiller, who has been such
10 a great proponent of improving our work at CEC. We don't
11 have him anymore, but just a gratitude to him and want to
12 honor his memory in this workshop and as work we do.
13 Commissioner McAllister, how about I just pass it to you if
14 you want to add any comment on Chair Weisenmiller and you
15 can close the workshop.

16 COMMISSIONER MCALLISTER: Oh, goodness. Thank
17 you. Thank you, Vice Chair.

18 I won't go into too much detail here, but I
19 really just feel like we've lost a lion of energy policy in
20 the clean energy transition in California. You know, Bob
21 Weisenmiller, former Chair of the Energy Commission, but
22 just a real leader -- more than a leader, really a
23 visionary. You know, he was the rare person who just had
24 both vision, but also had so much detailed knowledge about
25 how to connect the dots and get from point A to point B.

1 And I personally just really benefited from
2 having him in my life. And I know many, many, many people
3 could say the same thing. He was legendary in terms of his
4 ability to nurture relationships and, you know, send texts
5 at all hours and just remember details, personal and
6 professional of all of us, everyone that he worked with.
7 And I really consider him one of the best colleagues and
8 certainly mentors but also friends that I've ever had, and
9 we lost him too soon. I think, you know, he had a lot of
10 plans, things he wanted to do in retirement, and just
11 really, really sad that he won't be able to do those
12 things, and that we won't be getting texts and emails from
13 him at all hours of the day. I really can't start to get
14 my head around that.

15 But he -- you know, Bob was right there at the
16 beginning of the Energy Commission, an early staffer,
17 senior staffer for Governor Brown when he was developing
18 and implementing the commission, and then went off and had
19 a consulting career that was very vibrant and largely
20 focused on California during the old PURPA (phonetic) days
21 all the way up through every iteration of energy policy in
22 the state. And then came back to the Commission under
23 Governor Schwarzenegger, and then became Chair, and really
24 was just instrumental in helping me when I came, supporting
25 my coming to the Commission and helping me really get my

1 sea legs here. And, you know, mine and many, many other
2 lives were just much, much better for having him in them.

3 And his memory was legendary. He had a
4 photographic memory. I mean, he just was on top of so many
5 issues at once, and so nimble, you know, all the way, just
6 throughout his whole career, up until retirement and even
7 afterwards. I saw him, spent a day with him at the Energy
8 and Resources Group at UC Berkeley's 50th anniversary in
9 May, and just really looking back at that as a precious
10 opportunity because we didn't know we would lose him.

11 So anyway, I've been thinking about him for the
12 last week since he passed. And I know a lot of people are
13 saddened by our collective loss and California's loss.

14 Anyway, rest in peace, Bob. It was just a
15 wonderful memory.

16 Thanks for the opportunity, Vice Chair.

17 VICE CHAIR GUNDA: Thank you so much,
18 Commissioner McAllister.

19 And with that I'll pass it back to Sandra for
20 closing. Thanks, Sandra.

21 MS. NAKAGAWA: Thank you so much everyone.

22 With that we are adjourned for today's workshop.

23 (The workshop adjourned at 11:17 a.m.)
24
25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 28th day of September, 2025.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

September 28, 2025