

**DOCKETED**

<b>Docket Number:</b>	26-BUSMTG-01
<b>Project Title:</b>	2026 Business Meeting Agendas, Transcripts, and Public Comments
<b>TN #:</b>	268805
<b>Document Title:</b>	Transcript of the January 21, 2026 Business Meeting
<b>Description:</b>	N/A
<b>Filer:</b>	Kim Todd
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	2/25/2026 11:07:36 AM
<b>Docketed Date:</b>	2/25/2026

## CALIFORNIA ENERGY Commission

In the matter of:

Business Meeting )  
 ) Docket No. 26-BUSMTG-01  
 )

WEDNESDAY, JANUARY 21, 2026

10:00 A.M. - 3:00 P.M.

In-person at:

CALIFORNIA NATURAL RESOURCES BUILDING  
 715 P STREET  
 FIRST FLOOR AUDITORIUM  
 SACRAMENTO, CALIFORNIA 95814  
 (Wheelchair Accessible)

The California Energy Commission (CEC) aims to begin the business meeting promptly at the start time and the end time is an estimate based on the agenda proposed. The meeting may end sooner or later than the time indicated depending on various factors. Commissioners may attend remotely in accordance with Government Code section 11123.2(j).

Pursuant to the California Code of Regulations (CCR), title 20, section 1104(e), any person may make an oral comment on any agenda item. To ensure the orderly conduct of business, such comments will be limited to two minutes or less per person.

Please visit the CEC Business Meeting web page for more information and materials at <https://www.energy.ca.gov/proceedings/business-meetings>.

Reported by:  
 Martha Nelson

APPEARANCESCOMMISSIONERS

David Hochschild, Chair

J. Andrew McAllister, Commissioner

Nancy Skinner, Commissioner

STAFF

Drew Bohan, Executive Director

Jennifer Martin-Gallardo, Deputy Executive Director

Sanjay Ranchod, Chief Counsel

Diana Maneta, Policy and Technical Lead, Equitable Building  
Decarbonization Branch, Reliability, Renewable Energy and  
Decarbonization Incentives Division

Nick Fugate, Lead Forecaster, Energy Assessments Division,  
Demand Analysis Office

Ferris Chu, Electric Generation System Specialist I, Energy  
Research and Development Division

Taylor Nguyen, Fuels & Transportation Division, Zero  
Emissions Vehicles Acceleration Branch

Claire Sweeney, Energy Commission Specialist, Energy  
Research and Development Division, Sustainability and  
Resilience Branch

Cyrus Ghandi, Supervisor, Food Production Investment  
Program

PUBLIC ADVISOR'S OFFICE

Ryan Young, Deputy Public Advisor

APPEARANCESPRESENTER

Delphine Hou, Deputy Director, Statewide Energy, Department  
of Water Resources

ALSO PRESENT

Matt Coldwell, CPUC, Energy Division

Cristy Sanada, California Independent System Operator

PUBLIC COMMENT

Robert Pennington, Permit Sonoma

Adam Jorge, Sonoma Clean Power

Claudio Clini, Alliance for Tribal Clean Energy

Josh Simmons, Southern California Tribal Chairman's  
Association, Tribal Energy and Climate Collaborative

Selena Rowan, Trinidad Rancheria

Josh Harmon, Pacific Gas & Electric

Sarah Taheri, San Diego Gas & Electric, and SoCalGas

Carrie Bentley, Western Power Trading Forum

Meredith Alexander, California Coalition of Large Energy  
Users

Katy Morsony, California Community Choice Association

Orville Thomas, Cal EPIC

## INDEX

	<u>PAGE</u>
1. Public Comment	6
2. Agency Announcements	7
3. Consent Calendar	8
4. Information Item - Department of Water Resources (DWR) Update on Strategic Reliability Reserve Investments	11
5. Equitable Building Decarbonization Tribal Direct Install Program Guidelines	15
6. Resolution Adopting the California Energy Demand Forecast, 2025-2045	41
7. Gas Research and Development Program 2025 Annual Report	81
8. California Energy, Power, & Innovation Collaborative	85
9. Food Production Investment Program (FPIP) 2025 - GFO-24-311	96
10. Lead Commissioner or Presiding Member Reports	104
11. Executive Director's Report	111
12. Public Advisor's Report	111

## INDEX

	<u>PAGE</u>
13. Chief Counsel's Report	112
Closed Session	112
Adjournment	113

P R O C E E D I N G S

10:00 a.m.

WEDNESDAY, JANUARY 21, 2026

(Whereupon an introduction video is played and not  
transcribed.)

CHAIR HOCHSCHILD: Well, good morning, friends,  
and welcome. I'm David Hochschild, Chair of the California  
Energy Commission. Today is January 21st. I call this  
meeting to order. Joining me are Commissioner McAllister  
and Commissioner Skinner. We do have a quorum.

Let's begin with the Pledge of Allegiance.

(The Pledge of Allegiance is recited in unison.)

CHAIR HOCHSCHILD: We'll begin with public  
comments and then move on to agency announcements.

MR. YOUNG: Good morning and welcome. This is  
Ryan Briscoe Young, the Energy Commission's Deputy Public  
Advisor.

The Commission welcomes public comment at its  
business meetings. (Clears throat.) Excuse me. There  
will be multiple opportunities for public comment today.  
This initial public comment period is for any informational  
or non-voting items on the agenda. If you'd like to make a  
comment on a voting item, we ask that you wait for the  
dedicated public comment period to make your comment for  
that item.

1           Now for the instructions on how to notify us if  
2 you'd like to make a comment at this time.

3           If you are in the room, please use the QR code  
4 posted in the back or visit the Public Advisor table in the  
5 back of the room. Public Advisor table, can you wave?

6 Thank you. If you're on Zoom, you're going to click the  
7 raised-hand feature on your screen. And if you're joining  
8 by phone, please press star nine to raise your hand.

9           To ensure that we can hear from everyone and get  
10 through the agenda, comments will be limited to two minutes  
11 or less per speaker and one speaker per entity. You'll be  
12 called upon when it's your time to make your comment.

13           We're going to start with people in the room.  
14 Seeing no public comments, I'm going to move to Zoom. Max  
15 Chamalko (phonetic), I'm opening your line. Please unmute  
16 on your end, spell your name for the record and state any  
17 affiliation, and begin your comment. Max Chamalko, you  
18 don't want to unmute on your end?

19           Chair, that concludes public comment at this  
20 time.

21           CHAIR HOCHSCHILD: Thank you.

22           We'll turn next to agency announcements. And I  
23 just want to begin by recognizing one really important  
24 milestone that our state recently hit, which is we hit two  
25 and a half million electric vehicles on the road. I really

1 want to congratulate Commissioner Skinner and the whole FTE  
2 team for all the work to support the charging  
3 infrastructure. That is a big deal and more to come,  
4 especially at this moment. So really kudos to the whole  
5 team who have been supporting that effort as we electrify  
6 transportation increasingly in the years to come.

7 Today, we're going to be seeking approval for  
8 over \$73 million in investments contributing to  
9 California's economy.

10 And with that, let me just see if either of my  
11 colleagues has any agency announcements they want to share.

12 Okay, hearing none, we'll turn next to Item 3,  
13 consent calendar.

14 Is there any public comment on Item 3?

15 MR. YOUNG: Thank you, Chair.

16 Again, this is Ryan Young, Deputy Public Advisor.  
17 The Commission now welcomes public comment on Item 3.  
18 Again, to notify us that you'd like to make a comment and  
19 you're in the room, please use the QR code posted in the  
20 back or visit the Public Advisor table. If you're on Zoom,  
21 please click the raise-hand feature on your screen. And if  
22 you're joining by phone, please press star nine to raise  
23 your hand.

24 Robert Pennington, I'm going to unmute your line.  
25 Please state and spell your name for the record and we

1 welcome your comment.

2 MR. PENNINGTON: Hi. Robert Pennington. Robert,  
3 R-O-B-E-R-T, Pennington, P-E-N-N-I-N-G-T-O-N, on behalf of  
4 Permit Sonoma, which is the Planning Department for the  
5 County of Sonoma.

6 So on behalf of our team and regional partners, I  
7 want to express our sincere gratitude to the CEC and staff  
8 for proposed funding of our Sonoma-Lake-Mendocino Proactive  
9 Regional Geothermal Planning Project. This investment is a  
10 critical step to advance clean, firm power in our region  
11 and will allow us to develop cutting-edge tools, like a 3D  
12 subsurface geothermal model, high-resolution LiDAR mapping,  
13 and a surface constraint analysis to guide responsible  
14 geothermal development in our area.

15 The project will also grow local expertise in  
16 geothermal permitting and initiate meaningful community and  
17 tribal engagement. It is our hope and expectation that  
18 this grant will attract geothermal energy investment and  
19 development while protecting sensitive resources.

20 So thank you, Commissioners, and also a big thank  
21 you to your staff for their support. We look forward to  
22 working together, advancing this project, and seeing more  
23 geothermal energy development in the Sonoma-Lake-Mendocino  
24 County region.

25 Thank you.

1 MR. YOUNG: Chair, that concludes public comment  
2 for this item.

3 Actually, I've been made aware we have a  
4 commenter in the room. Please approach the podium, state  
5 and spell your name for the record, and welcome your  
6 comment.

7 MR. JORGE: Hi. Good morning, Chair,  
8 Commissioners, and staff. I'm Adam Jorge with Sonoma Clean  
9 Power. I'm grateful to be here this morning. Oh, that's  
10 A-D-A-M J-O-R-G-E.

11 I'm grateful to be here this morning to thank the  
12 Commission for this opportunity to support our local  
13 government partners as they pursue a greater understanding  
14 of the region's geologic and environmental conditions.  
15 Sophisticated work of this kind underpins the successful  
16 deployment of next-generation geothermal technologies.  
17 Developing a thorough understanding of the data needs,  
18 knowledge gaps, and economic and environmental co-benefits  
19 of geothermal projects in our region, and ensuring that  
20 information is shareable and accessible throughout the  
21 industry and to the public is vital to de-risking  
22 geothermal projects throughout the state. We are  
23 exceedingly grateful for this chance to provide support in  
24 match dollars to this excellent project.

25 Once again, thank you to the Commission and to

1 Permit Sonoma for the opportunity. We look forward to  
2 working with all involved.

3 MR. YOUNG: Thank you for your comment.

4 Back to you, Chair.

5 CHAIR HOCHSCHILD: Thank you. With that, I would  
6 welcome a motion from Commissioner McAllister on Item 3.

7 COMMISSIONER MCALLISTER: Move Item 3.

8 CHAIR HOCHSCHILD: Is there a second from  
9 Commissioner Skinner?

10 COMMISSIONER SKINNER: Second.

11 CHAIR HOCHSCHILD: All in favor, say aye.

12 Commissioner McAllister?

13 COMMISSIONER MCALLISTER: Aye.

14 CHAIR HOCHSCHILD: Commissioner Skinner?

15 COMMISSIONER SKINNER: Aye.

16 CHAIR HOCHSCHILD: And I vote aye as well. Item  
17 3 passes three to zero.

18 We'll turn now to Item 4, information item,  
19 Department of Water Resources update on the Strategic  
20 Reliability Reserve Investments.

21 Good to see you again, Delphine.

22 MS. HOU: Good morning, Chair, Commissioners.

23 Thank you so much for having me back. Excellent. And I am  
24 hoping we are able to queue up our sister agency at the PUC  
25 representative, as well as the Kaiser representative. So

1 hopefully that'll come up. But let me just start.

2           As I said, thank you very much for having me back  
3 again. I think this is number 14 in terms of updates. My  
4 name is Delphine Hou. I'm the Deputy Director for  
5 Statewide Energy Office with the Department of Water  
6 Resources here to provide an update on the Electricity  
7 Supply Strategic Reliability Reserve Program.

8           Next slide, please.

9           Just background. Assembly Bill 205/209 created  
10 the state's Strategic Reliability Reserve, three parts of  
11 it for the reserve, two actually overseen by the CEC,  
12 focused on demand response and distributed resources,  
13 whereas DWR's program is focused on grid-connected  
14 resources. The Electricity Supply Strategic Reliability  
15 Reserve Program, or ESSERP, acts as an insurance policy and  
16 safeguards the state's electrical grid during extreme and  
17 combined events, as we've seen in the past, such as heat  
18 waves, wildfires, droughts caused by climate change. The  
19 program also supports California's transition to a clean  
20 energy future.

21           Next slide, please.

22           So per the Water Code, DWR is here to provide  
23 regular updates at the Energy Commission meeting for  
24 investments made and under consideration for the reserve.  
25 And the legislation requires the attendance of our CEC --

1 I'm sorry, excuse me, our PUC and CAISO colleagues, so  
2 hopefully they're on the line with us today.

3 As I mentioned, this is our 14th update, so never  
4 a dull moment. We expect the next update to occur in the  
5 second quarter of 2026.

6 Next slide, please.

7 In terms of background, there's five broad  
8 categories. The first is the extension of operating --  
9 existing operating resources that were planned for  
10 retirement. The second is new temporary power generators  
11 of five megawatts or more. The third is generation  
12 facilities using clean, zero-emission fuel technology of  
13 any size. The fourth is new energy storage of 20 megawatts  
14 or more. And the last is imports and capacity products.

15 Next slide, please.

16 So this is a big summary slide that kind of shows  
17 all the investments that have occurred throughout the  
18 years. Early years, as we've mentioned before, it was a  
19 little bit more diverse in trying to get as many resources  
20 as possible, so a reliance there on temporary diesel  
21 generators, firm imports. As you can see, that has  
22 decreased, and right now our portfolio is about 3,000  
23 megawatts of natural gas-fired resources.

24 The important thing to note is that for all new  
25 resources in the reserve, they are default off, so nothing

1 is on aside from regular maintenance and only turned on  
2 when actually needed by the grid. So that balances some of  
3 the concerns around emissions, use of those resources.

4 So currently, DWR does not have any new resources  
5 under contract, but we remain open to opportunities, but we  
6 do want to make sure that we're following the legislative  
7 intent of prioritizing those investments that do not  
8 compete with facilities already planned for by load-serving  
9 entities and public utilities.

10 So I want to thank you for your time. Also, I  
11 see Cristy from CAISO on the line. Thank you for her time  
12 here. And much of our work is not possible without the  
13 deep coordination and collaboration we have with the CEC  
14 team, PUC, and CAISO.

15 So thank you very much. That concludes my  
16 presentation.

17 CHAIR HOCHSCHILD: Thank you so much, Delphine.  
18 Any questions from my colleagues? Commissioner  
19 McAllister?

20 COMMISSIONER MCALLISTER: No questions, but I  
21 feel like just I want to thank you and the team for just  
22 being such steadfast partners on this and for not just for  
23 briefing us periodically, but also just running the whole  
24 enterprise, which has been a big deal.

25 And I feel like we can't let this go by without

1 channeling Vice Chair Gunda a little bit and saying just a  
2 wholehearted thank you. I mean, it's achieved a lot and  
3 really helped stabilize the reliability conversation and  
4 just create that platform for a really solid policy  
5 response. And so I just really feel like it functions in  
6 the sort of day-to-day, but also just the building of  
7 bridges and collaborations and trust in government that we  
8 can actually address these large challenges that we have.

9 So thanks, Delphine. I want to just say, please  
10 transmit that to the whole team, and we really appreciate  
11 you. Thanks.

12 CHAIR HOCHSCHILD: Well said. I think with 14  
13 visits, you should probably get a chair or something for  
14 her.

15 COMMISSIONER MCALLISTER: Right. We need some  
16 medal, you know, watch or something. No, it's been a  
17 number of years; right? So thanks.

18 CHAIR HOCHSCHILD: All right. Thank you.

19 Unless there's any other comments, we'll turn  
20 next to Item 5, Equitable Building Decarbonization Tribal  
21 Direct Install Program.

22 And I welcome Diana Maneta to present.

23 MS. MANETA: Good morning, Chair and  
24 Commissioners. My name is Diana Maneta. I'm Policy and  
25 Technical Lead for the Equitable Building Decarbonization

1 Programs in the Reliability, Renewable Energy and  
2 Decarbonization Incentives Division. Today, I'll be  
3 presenting the proposed guidelines for the Equitable  
4 Building Decarbonization Tribal Direct Install Program.

5 I'd like to start by thanking our Lead  
6 Commissioner, Andrew McAllister, for his leadership and  
7 active engagement in the development of these guidelines.  
8 I also want to thank CEC's Tribal Affairs Team, Sierra  
9 Graves, Davina Whitethorn, and Kelsey Freeman for all their  
10 support. These guidelines were developed by the EBD Tribal  
11 Team, which includes Monica Steele, Katie Webster, Halle  
12 Kasai, and myself.

13 And most importantly, we'd like to thank the many  
14 tribes, tribal members, and other stakeholders who  
15 participated in one of our tribal listening sessions or  
16 public workshops or submitted comments on the program. We  
17 received a great deal of thoughtful input that shaped the  
18 guidelines that are before you today.

19 Next slide, please.

20 So the CEC was directed by Assembly Bill 209 in  
21 2022 to create the Equitable Building Decarbonization, or  
22 EBD, Program. The Tribal Direct Install Program is one  
23 component of the EBD Program. It aligns with the  
24 legislature's direction to provide a preference in the  
25 Direct Install Program for buildings owned or managed by

1 California Native American tribes or tribal organizations  
2 and buildings owned by members of California Native  
3 American tribes.

4           The Tribal Direct Install Program will have  
5 numerous benefits to Californians, far beyond the direct  
6 benefits that will be received by residents of homes  
7 upgraded through the program. It will reduce greenhouse  
8 gas emissions from existing buildings, thereby helping to  
9 avoid the worst impacts of climate change and contributing  
10 to California's goal of carbon neutrality by 2045. It will  
11 advance energy equity by directing benefits to tribal  
12 households and communities. It will improve resiliency to  
13 extreme heat, air quality, and energy affordability,  
14 support grid reliability, and support the local workforce  
15 in tribal communities.

16           The program will also advance several other  
17 policy goals, including California's goal of 6 million heat  
18 pump installations by 2030, as well as the CEC's commitment  
19 as part of the Tribal Energy Sovereignty Resolution to  
20 increase tribal set-asides within state programs and  
21 funding opportunities.

22           Next slide, please.

23           Building decarbonization means reducing or  
24 eliminating greenhouse gas emissions from buildings through  
25 strategies such as replacing gas appliances with efficient

1 electric appliances, making buildings more energy  
2 efficient, increasing load flexibility, and reducing  
3 refrigerant emissions. In addition to reducing emissions,  
4 these upgrades can also make buildings safer, more  
5 comfortable, and more affordable to heat and cool.

6           However, there are significant challenges to  
7 decarbonizing buildings. These include the cost of the  
8 upgrades, split incentives between landlords and renters,  
9 workforce availability, and infrastructure constraints,  
10 particularly electrical capacity in buildings.

11           These challenges are especially acute in low-  
12 income, disadvantaged, and tribal communities, the very  
13 communities that are most in need of building upgrades, as  
14 they often bear the highest energy burdens and have  
15 suffered the most from historical environmental injustices,  
16 economic disparities, and the current climate crisis.

17           The EBD program is designed explicitly to address  
18 these challenges by providing building decarbonization  
19 upgrades at no cost to qualifying homes. In the case of  
20 the Tribal Direct Install Program, these upgrades will be  
21 provided to homes owned or managed by tribes or tribal  
22 organizations and homes owned by tribal members.

23           Next slide, please.

24           The Tribal Direct Install Program is one of three  
25 EBD subprograms. The other two are the Statewide Direct

1 Install Program and the Statewide Incentive Program. The  
2 budget for the Tribal Direct Install Program is \$30  
3 million, and the primary funding source is the Greenhouse  
4 Gas Reduction Fund. The likely end date for the Tribal  
5 Program is 2030, based on the deadline to expend these  
6 funds.

7 I do want to note that tribal members are not  
8 limited to participating in the Tribal Direct Install  
9 Program. They can also participate in the Statewide Direct  
10 Install Program and the Statewide Incentive Program, as  
11 long as they meet the eligibility requirements for those  
12 programs.

13 Next slide.

14 Stakeholder engagement in the development of the  
15 EBD Tribal Program began in December 2022, when the CEC  
16 released a Request for Information, and Commissioner  
17 McAllister hosted a lead Commissioner workshop on the  
18 overall scoping of the program. At that time, the CEC  
19 requested input on how to most effectively provide a  
20 preference for tribes and tribal members as part of the  
21 program. Based on input received, the CEC chose to set  
22 aside funds for this separately administered tribal program  
23 to be developed through engagement with tribes.

24 The CEC subsequently held several tribal  
25 listening sessions in 2023 and 2024 to receive input from

1 tribes and tribal members on how the program should best be  
2 designed to meet the needs of tribes. The input we  
3 received during the listening sessions informed the  
4 development of draft guidelines, which were released in  
5 September of 2025. The draft guidelines were modeled in  
6 some respects after the guidelines for the Statewide Direct  
7 Install Program, which had been adopted in 2023, though  
8 with significant differences based on the input we received  
9 about how to best meet the unique needs of tribes.

10 In September and October, we held two additional  
11 tribal listening sessions, as well as a public workshop, to  
12 solicit input on the draft guidelines. That input was used  
13 to revise the draft guidelines and develop the proposed  
14 final guidelines that are before you today. In addition to  
15 the formal noticed meetings listed here, we also had  
16 numerous meetings with individual tribes, tribal  
17 organizations, and others to seek input throughout this  
18 process. In total, more than 150 people participated in  
19 these listening sessions and workshops, including  
20 representatives of at least 16 tribes. We also received 34  
21 written comments to the docket throughout this process.

22 I want to emphasize that the CEC is always open  
23 to input from tribes and all stakeholders, and we look  
24 forward to continued input and engagement beyond the  
25 adoption of these guidelines as we move into program

1 implementation.

2           Next slide, please.

3           Under the proposed guidelines, all California  
4 Native American tribes that are on the contact list  
5 maintained by the California Native American Heritage  
6 Commission will have the opportunity to participate in the  
7 program. All tribes will be eligible to receive a  
8 guaranteed minimum funding allocation of \$75,000, with the  
9 option to request additional funds pending availability.

10           An important element of the program is that  
11 tribes will have the option to choose how they would like  
12 to participate. They can either receive their funding  
13 allocation as a direct grant from the CEC and implement the  
14 program for their tribe, or they can choose to receive  
15 their allocation in the form of services provided by a  
16 third-party program implementer selected by the CEC, who  
17 will implement the program on their behalf. This structure  
18 was designed to give all tribes the opportunity to  
19 participate, regardless of their administrative capacity.

20           The funds allocated to each tribe will be used to  
21 provide efficient electric appliances and other energy  
22 efficiency upgrades free of charge to homes owned by  
23 members of the tribe or homes owned or managed by the tribe  
24 itself or a tribal organization. Whether tribes choose to  
25 implement the program themselves or receive services from

1 the program implementer, the tribe will be responsible for  
2 identifying the specific homes to be upgraded.

3 Next slide, please.

4 Homes selected by the tribe to be upgraded must  
5 meet the following criteria.

6 First, as I mentioned, they must be owned or  
7 managed by the tribe or a tribal organization or owned by a  
8 member of the tribe. Homes are not required to be located  
9 on tribal land, but they must be within the state of  
10 California. Single-family homes, multifamily buildings,  
11 and manufactured and mobile homes are all eligible. The  
12 program is limited to existing buildings, not new  
13 construction.

14 To be eligible, homes must use natural gas,  
15 propane, or another fossil fuel for space heating or water  
16 heating prior to the upgrade. As part of the upgrade, the  
17 fossil fuel equipment will be replaced or supplemented by  
18 efficient electric equipment.

19 Within these parameters, tribes will have the  
20 flexibility to select homes that they identify as the best  
21 fit for the program. When selecting homes to serve, tribes  
22 are strongly encouraged to prioritize low-income  
23 households. Other recommended criteria for tribes to  
24 consider include households with high energy burdens, homes  
25 vulnerable to extreme heat or cold, and homes occupied by

1 vulnerable tribal members, such as the elderly, young  
2 children, and those living with disabilities or chronic  
3 illnesses.

4           Next slide, please.

5           Participating homes will receive decarbonization  
6 upgrades at no cost to the building owner or occupant.  
7 Measures that are eligible to be funded through the program  
8 are listed on this slide. They include heat pumps for  
9 heating and cooling, heat pump water heaters, other  
10 efficient electric appliances, weatherization upgrades,  
11 electrical wiring and panel upgrades, and remediation and  
12 safety improvements.

13           Not every household that participates in the  
14 program will receive every measure on this list, but at a  
15 minimum, each home served will receive a heat pump for  
16 space heating and cooling, or a heat pump water heater, or  
17 both. In addition, at the conclusion of the retrofit, at  
18 least two of the following four end uses in the home must  
19 be electric; space heating, water heating, cooking, and  
20 clothes drying.

21           While solar PV systems are not eligible to be  
22 funded through this program, electrical upgrades to make  
23 the building solar-ready are eligible.

24           Next slide.

25           Following the adoption of these guidelines, the

1 CEC will release an application for tribes anticipated in  
2 the second quarter of this year. During the application  
3 period, tribes will be able to select whether they would  
4 like to receive a direct grant or receive their allocation  
5 in the form of services from the program implementer. They  
6 will also have the option to request additional funds  
7 beyond the \$75,000 minimum allocation. The CEC plans to  
8 hold virtual office hours during the application period to  
9 answer questions and assist tribes with the application  
10 process.

11           Following the conclusion of the Tribal  
12 application period, the CEC will release a competitive  
13 solicitation to select the program implementer. Tribes  
14 receiving direct grants will enter into grant agreements  
15 with the CEC. We anticipate bringing those agreements to  
16 CEC business meetings in the first half of 2027. Tribes  
17 receiving services from the implementer will enter into  
18 agreements with the implementer once the implementer has  
19 been selected. Home retrofits are estimated to begin in  
20 the second half of 2027.

21           Next slide, please.

22           With that, I'd like to recommend that the  
23 Commission approve the resolution to adopt the Equitable  
24 Building Decarbonization Tribal Direct Install Program and  
25 approve staff's determination the action is exempt from

1 CEQA.

2 Thank you.

3 CHAIR HOCHSCHILD: Thank you.

4 With that, let's go to public comment on Item 5.

5 MR. YOUNG: Thank you, Chair.

6 The Commission now welcomes public comment on  
7 Item 5 to notify us that you want to comment on this item.  
8 And if you're in the room, please use the QR code posted in  
9 the back of the room or visit the Public Advisory table.  
10 If you're on Zoom, click on the raised-hand feature on your  
11 screen. And if you're joining by phone, please press star  
12 nine to raise your hand.

13 Chair, at this time, my office received a letter  
14 just this morning that they'd like to read into the record,  
15 if that's all right?

16 CHAIR HOCHSCHILD: Okay, let's -- we don't have  
17 any other, before we read that, there's no other public  
18 comments on the phone or in-person?

19 MR. YOUNG: There is none in the room. We have a  
20 few on Zoom.

21 CHAIR HOCHSCHILD: Maybe let's do the ones on  
22 Zoom and then we'll go to the letter.

23 MR. YOUNG: All right.

24 Claudio Clini, I'm going to unmute your line.  
25 Please spell your name for the record and we welcome your

1 public comment.

2 MR. CLINI: Thank you. My name is Claudio Clini,  
3 C-L-A-U-D-I-O C-L-I-N-I. I'm appearing before you today as  
4 a representative for the Alliance for Tribal Clean Energy,  
5 a nonprofit committed to facilitating tribal nations  
6 achieving their energy sovereignty goals.

7 Thank you for the opportunity to testify on the  
8 Equitable Building Decarbonization Tribal Direct Install  
9 Program guidelines. My comments focus on how the program's  
10 design, funding, and implementation uphold tribal  
11 sovereignty. Important to note, I'm not a tribal citizen,  
12 nor do I speak for any tribal nations. I encourage the  
13 state to look to their previous and future consultations  
14 with tribal nations on this matter to get their direct  
15 perspective.

16 My comments today are in support of this  
17 proposal.

18 First, I'd like to acknowledge the California  
19 Energy Commission's efforts to include tribal nations in  
20 the design of this program. Meaningful consultation is  
21 essential to sovereignty because it ensures policies  
22 affecting tribal lands and citizens are shaped by the  
23 tribes themselves. We understand that tribes provided  
24 substantive suggestions during the consultation process and  
25 that the feedback directly informs the program. For

1 example, the eligibility for tribal member homes. We  
2 strongly support and encourage the state to continue  
3 consultation requirements as the program is implemented.

4           What makes this program particularly strong is  
5 that it places the decision-making authority with tribal  
6 nations where it belongs. By allowing tribes to determine  
7 the order of housing decarbonization and choose whether to  
8 administer the program themselves or work with a CEC-  
9 selected implementer, the guidelines respect tribal self-  
10 governance and self-determination in practice.

11           It is also important to recognize that not all  
12 tribal nations are in the same position to immediately take  
13 on program implementation. Historical and ongoing policies  
14 of disinvestment and exclusion have created capacity gaps  
15 that still exist today.

16           Finally, we strongly support the sustained  
17 funding level of \$30 million. This will be the first CEC  
18 program where every tribal nation in California is eligible  
19 for a base allocation of funds. This creates an  
20 unprecedented opportunity for fair participation at a time  
21 when building decarbonization is a state and nationwide  
22 priority, and these guidelines represent a meaningful step  
23 towards honoring tribal sovereignty while maintaining and  
24 meeting urgent climate and housing needs.

25           Thank you for your time.

1 MR. YOUNG: Thank you.

2 Josh Simmons, I'm going to unmute your line.  
3 Please spell your name, state of affiliation, and we  
4 welcome your comment.

5 MR. SIMMONS: Good morning. My name is Josh  
6 Simmons, J-O-S-H S-I-M-M-O-N-S, and I am here on behalf of  
7 the Southern California Tribal Chairman's Association,  
8 Tribal Energy and Climate Collaborative, also known as  
9 TECC.

10 I sincerely appreciate and support CEC's  
11 commitment to launching and implementing the Tribal EBD  
12 Direct Install Program. In the updated guidelines, it  
13 states the proposed budget is about \$30 million. While  
14 program funding may be adjusted. I urge the CEC to  
15 maintain this program's \$30 million budget for tribes,  
16 particularly with so many recent cuts to federal and state  
17 programs.

18 TECC is currently supporting the SoCal EBD  
19 Program, which has various restrictions, making it  
20 unsuitable for tribal communities and their residents,  
21 whereas the Tribal EBD Program is specifically designed to  
22 serve and work for tribes. It is important to ensure that  
23 the program and its implementer can serve as many tribes  
24 and homes as possible.

25 Related to this, I strongly encourage CEC to do a

1 second application round in partnership with the  
2 implementer to ensure that tribes that didn't understand  
3 the program, didn't trust it otherwise, weren't able to  
4 apply, have another chance to participate. Ideally, this  
5 will happen after some homes have been successfully  
6 retrofitted to demonstrate program success and benefits to  
7 rightfully skeptical tribes that opted not to participate  
8 initially.

9 I also need to state that the administrative cost  
10 cap of 15 percent is arbitrary, unreasonable, and  
11 unjustifiably inflexible for such a complex program and  
12 will undermine program success. Fifteen percent is what  
13 the CEC recently adopted as a de minimis, it's my  
14 understanding, for indirect costs, and it's my  
15 understanding that the indirect and overhead costs would be  
16 subject to this cap. The cap covers a range of  
17 programmatic activities representing a substantial amount  
18 of direct costs, which include, first, recruiting  
19 contractors and vendors from all corners of the state,  
20 negotiating their contracts, and then managing the  
21 contractors implementing cost controls.

22 As an attorney with a great deal of experience  
23 negotiating these contracts that are complex. There's a  
24 great deal of liability and risk that need to be covered  
25 through insurance. The program management costs and effort

1 are being underestimated. And then reporting with CEC  
2 grants, I have direct experience where this can be  
3 particularly onerous and costly. The recommendation would  
4 be to decouple indirect costs from administrative costs.

5 MR. YOUNG: Thank you. Please conclude your  
6 comments.

7 MR. SIMMONS: And then to just allow for  
8 exceeding the 15 percent cost cap subject to CEC's approval  
9 if it can be reasonably justified.

10 Thank you very much.

11 MR. YOUNG: Ron Sundberg (phonetic), I'm opening  
12 your line. Please unmute on your end. Spell your name,  
13 state of affiliation, and we welcome your comments.

14 MS. ROWAN: Hello. This is actually Selena Rowan  
15 from Trinidad Ventura. That's S-E-L-E-N-A R-O-W-A-N. I'm  
16 the Climate Resiliency Program Manager, and I'm just  
17 writing to -- I'm commenting to support the \$30 million  
18 Tribal set-aside allocated by the Equitable Building  
19 Decarbonization Program for Tribal Direct Install Program  
20 funding. We're looking forward to participating in this  
21 program and believe it will be beneficial for the Tribal  
22 members we work with.

23 Thank you.

24 MR. YOUNG: That's all the comments from online.  
25 I'm going to turn to our letter. This is from the La Jolla

1 Band of Luiseno Indians.

2 "Dear Commissioners, on behalf of the La Jolla Band of  
3 Luiseno Indians, I'm writing to express strong support  
4 for the Energy Commission's Equitable Building Decarb  
5 Tribal Direct Install Program. This program  
6 represents a critical investment in advancing  
7 equity -- energy equity, promoting clean energy  
8 access, and supporting long-term environmental well-  
9 being of California Native American tribes and tribal  
10 communities.

11 "The EBD Tribal Install Program provides a highly  
12 valuable service by offering no-cost installation of  
13 energy efficiency electric appliances, energy  
14 efficiency retrofits, and related upgrades for  
15 buildings owned and managed by California Native  
16 American tribes. Tribal organizations are owned by  
17 tribal members.

18 "The La Jolla Band is particularly pleased to see the  
19 program's thoughtful, inclusive design, specifically  
20 the provision that eligible buildings do not need to  
21 be located on tribal lands to participate. This  
22 reflects a deep understanding of diverse living  
23 situations of California Native American individuals  
24 and families.

25 "We commend the California Energy Commission for its

1 continued leadership in designing programs that  
2 recognize and uplift the unique needs of Tribal  
3 communities. The EBD Tribal Install Program  
4 represents a meaningful step towards environmental  
5 justice and inclusive climate action, clean energy  
6 access, and equity across California.

7 "Sincerely, Fred Nelson, Jr., Tribal Vice Chairman."

8 And I conclude with public comments, sir.

9 CHAIR HOCHSCHILD: Okay. Thank you.

10 We'll turn to Commission discussion. I wanted to  
11 just first thank the team for all the work. Diana, I can  
12 really hear in the rules you were walking through the  
13 flexibility that's built in. And, you know, things like  
14 not every grant, you know, for a tribal member has to be on  
15 Tribal land. Of course, that's -- you know, many tribal  
16 members don't live on Tribal land. So these kind of  
17 things, I think, are very clearly a result of feedback and  
18 input. So thank you for doing all the listening that you've  
19 done to put this together.

20 I really wanted to thank Commissioner McAllister  
21 for his incredible leadership on this program. And, you  
22 know, since we had our Tribal Energy Sovereignty Resolution  
23 three years or so ago, there's been, you know, almost every  
24 quarter, new meaningful programs, projects we're funding  
25 that really put meat on the bones of that commitment to do

1 better by the Tribes in California. And this is yet  
2 another step in that direction.

3 So I really wanted to thank you, Commissioner,  
4 for your leadership on this, the attention to detail. This  
5 is a really important \$30 million commitment we're making.  
6 And with that, I just welcome your comments.

7 COMMISSIONER MCALLISTER: Thank you, Chair. And  
8 thank you, Diana and Haile and the whole team for doing  
9 such an amazing job. You know, all the different  
10 components of the EBD program have taken a while to put  
11 together. The main program is rolling out. We have great  
12 regional administrators.

13 This program, \$30 million, you know, we have set  
14 aside for tribes. And I really appreciate your comments  
15 about the need for flexibility when we're working with the  
16 tribes, and really the need to continue to develop the  
17 muscle memory at the Commission, you know, up and down all  
18 of our processes. But, you know, as you know, I believe  
19 process is fundamental. It's an expression of our values.

20 And we had to sort of, in order to develop the  
21 main program, you know, the bulk of the funding for, you  
22 know, the statewide EBD program, we did sort of have to  
23 take a pause on the tribal because we wanted to get back to  
24 it in earnest with a meaningful process that would allow,  
25 that would treat the tribes as equal partners and that

1 would refer to them as equal partners. When policy calls,  
2 you know, as a nation, they might make differently than say  
3 we would as the State of California.

4 And so that, doing that in a meaningful way, it  
5 takes effort. It takes process. It takes, you know, a lot  
6 of workshops, a lot of dialogue and really taking a --  
7 really sort of putting the feed in the worldview of the  
8 tribes. And it's even hard to just generalize about, you  
9 know, all the tribes. They have very different worldviews  
10 often and they have different processes and ways they gain  
11 input internally.

12 And so that all takes a lot of, you know, active  
13 listening and basic respect. And I think the staff has  
14 just done an amazing job along those lines. And so that's  
15 part of the reason why, you know, it seems to have taken a  
16 while. But the, you know, the cadence of decision-making  
17 and implementation, that also will be different from the  
18 rest of the statewide program. So it's an issue of  
19 fundamental respect.

20 And so I think taking to heart the resolution,  
21 which was, I think, so meaningful for all of us and long  
22 overdue, that sort of -- this item is an expression of that  
23 commitment. And so I really want to just, again, thank the  
24 staff and all the tribal participants and all the  
25 stakeholders who kind of helped us understand the

1 particulars. And probably that's the reason we ended up  
2 with this balance of, on the one hand, allowing tribes who  
3 needed the technical support and a more proactive  
4 implementation by, you know, a third party to choose that  
5 option. But the ones that didn't and that have sort of  
6 institutional strength and more knowledge and just have  
7 more scale could opt to implement the program themselves.  
8 And we gave them flexibility about how they went about  
9 implementing, how they are going to go about implementing  
10 in terms of, you know, which homes they're going to target  
11 and which -- sort of how they're going to approach it. And  
12 so we didn't want to burden the tribes with rules that were  
13 really developed for non-tribal entities in the statewide  
14 program.

15           So anyway, I just wanted to give a little bit of  
16 background there.

17           Thanks to all the commenters. Really appreciate  
18 your being with us today. And, you know, really believe we  
19 need to stay a firm and predictable course with respect to  
20 the tribes, and I think this does this, as I think Diana  
21 Was very robust.

22           And I also, you know, wanted to thank HCD,  
23 actually, because a little bit in left field here, it  
24 didn't come up in the presentation, but I think the  
25 manufactured housing element of EBD broadly across the

1 state and including with tribes, they've -- we've worked  
2 closely and I think very productively with HCD to gain  
3 clarity on how to install heat pumps in manufactured  
4 housing. HCD is the federally-designated entity that  
5 oversees the federal building code for manufactured homes.  
6 It's not part of our Title 24. And so having that  
7 partnership with our sister agency, who does have a big  
8 influence in manufactured housing, which is a big, big  
9 presence on tribal lands, certainly, and it's relevant for  
10 this program, that's been very helpful as well.

11           So, you know, we can always do better together,  
12 tribal support. I mean, there's no -- you know, I'm not  
13 claiming certainly that we've got it figured out because I  
14 think it's long history that we have to sort of, you know,  
15 do our best to correct and to certainly not make the same  
16 mistakes going forward. The process is part of the point  
17 here, is that building that muscle, building the muscle  
18 memory to produce a program that does reflect that inherent  
19 respect, I think is what we were trying to achieve, and I  
20 don't think this does it.

21           I did want to invite perhaps Diana or Haile to  
22 come up and talk about the overhead issue or the admin cost  
23 issue rather. So maybe you can give a little more context  
24 there?

25           MS. MANETA: Sure, happy to do that,

1 Commissioner. Yeah, we heard some concern about the admin  
2 cost cap for the program and totally understand concerns  
3 about programs like this do require a lot of overhead, a  
4 lot of administration to run. We did actually increase the  
5 admin cost cap from the draft guidelines. It was 10  
6 percent in these proposed guidelines. It's 15 percent.

7 I also want to clarify that administrative costs  
8 do not include -- that cost cap doesn't include all the  
9 costs that folks might think of it as administrative.

10 COMMISSIONER MCALLISTER: Yeah.

11 MS. MANETA: We have another cost category called  
12 project-related cost that includes things like identifying  
13 homes to serve, doing home assessments, doing quality  
14 control, doing follow-up surveys. There's a number of  
15 things that are sometimes considered administrative that we  
16 consider project-related and so outside of that cap.

17 So I think we're really trying our best to find  
18 the right balance, allowing enough flexibility in the admin  
19 and project-related categories while also ensuring that the  
20 bulk of the funds do go to where the actual retrofits  
21 actually improving people's homes.

22 COMMISSIONER MCALLISTER: Thanks. Thanks for  
23 that context, really appreciate it. And, again, thanks for  
24 all the commenters and tribes that participated along the  
25 way.

1           And with that, I'm happy to make a motion, unless  
2 somebody else has comments.

3           CHAIR HOCHSCHILD: Any comments from Commissioner  
4 Skinner?

5           COMMISSIONER SKINNER: Thank you.

6           And thank you, Commissioner McAllister for your  
7 experience in this and your explanations, and staff for the  
8 presentation. I think this is just another great example  
9 and good evidence of the progress California as a state has  
10 made, but also our agency, the Commission has made in  
11 helping to ensure that our services are available to, and  
12 not only available to, but really utilized by our tribal  
13 partners. And, of course, because they are -- they have  
14 their separate legal status, we do have to design things  
15 differently in order to accommodate that. But I think it  
16 is really a great evidence of that. And clearly, a very  
17 important needed program because of the status of much of  
18 the housing on our tribal lands.

19           So I fully support it and I appreciate  
20 everybody's work on it.

21           CHAIR HOCHSCHILD: Just one question before we  
22 go, though, just if we could walk through the timeline  
23 again. It looks like the projects wouldn't come back to us  
24 for a year; is that right? What was the, Diana, the --

25           COMMISSIONER MCALLISTER: Yeah.

1 MS. MANETA: Yeah, we're expecting the -- so  
2 basically, the tribal application process we're  
3 anticipating to start in the second quarter. We want to  
4 leave plenty of time for tribes to respond to that. We  
5 know they have --

6 CHAIR HOCHSCHILD: Yeah.

7 MS. MANETA: -- their own government processes  
8 they need to go through. So by the time we get through  
9 that -- oh, thank you, here's the slide -- by the time we  
10 get through that and finalize the agreements with the  
11 tribes, we do expect grant agreements to bring those to  
12 business meetings in the first half of 2027, so yeah, in  
13 about a year.

14 CHAIR HOCHSCHILD: Got it. Okay.

15 COMMISSIONER MCALLISTER: And the tribal, there  
16 will be some tribal direct agreements for the ones who want  
17 to implement themselves. And then there will be a process  
18 to select an administrator for those who don't. And then  
19 that administrator will work with those smaller tribes to  
20 implement in those areas. So there's so many tribal  
21 (indiscernible), so that we can have those two buckets.

22 CHAIR HOCHSCHILD: Okay.

23 COMMISSIONER MCALLISTER: And, you know, finally,  
24 I'll just say, you know, the hope would -- \$3 million, you  
25 know, I mean, historical terms for tribes, maybe that's a

1 lot, but it's really not that much money, obviously, and  
2 so, you know, for state and tribal diversity and just  
3 tribal breadth that we have in the state. And so -- but  
4 this program structure, I think, you know, hopefully it  
5 will show success and we'll be able to, to the extent the  
6 budget allows or other funding sources appear, we can pump  
7 more money into it over time and really make it, make it  
8 more of a, you know, get in production mode with the tribes  
9 and really sort of help them figure it out and implement it  
10 over time, so -- but, you know, obviously no promises  
11 there.

12 CHAIR HOCHSCHILD: Thank you again for all your  
13 good work on this.

14 And with that, I'd welcome a motion from  
15 Commissioner McAllister on Item 5.

16 COMMISSIONER MCALLISTER: Move Item 5.

17 CHAIR HOCHSCHILD: Is there a second for  
18 Commissioner Skinner?

19 COMMISSIONER SKINNER: Second.

20 CHAIR HOCHSCHILD: All in favor, say aye.  
21 Commissioner McAllister?

22 COMMISSIONER MCALLISTER: Aye.

23 CHAIR HOCHSCHILD: Commissioner Skinner?

24 COMMISSIONER SKINNER: Aye.

25 CHAIR HOCHSCHILD: And I vote aye as well. Item

1 5 passes three to zero. Thank you.

2 We'll turn next to Item 6, resolution adopting  
3 the California Energy Demand Forecast 2025 through 2045.

4 And I welcome Nick Fugate.

5 MR. FUGATE: Good morning, Commissioners. My  
6 name is Nick Fugate. I'm a Lead Forecaster with the CEC's  
7 Energy Assessments Division. And I'm here today to propose  
8 adoption of the California Energy Demand Forecast for years  
9 through 2045.

10 The forecast is specific to end-user energy  
11 demand. It covers electricity and gas, both consumption  
12 and sales, as well as peak electricity demand for various  
13 planning areas across the state. It also includes hourly  
14 electricity demand for planning areas within the California  
15 ISO balancing area.

16 And I would note at the top here that we are  
17 expecting representatives from the CPUC and CAISO to speak  
18 in support of this item, so I'll introduce them at the end  
19 of my presentation.

20 Next slide.

21 The CEC has a decades-long history of developing  
22 Energy Demand Forecasts dating back to the Warren-Alquist  
23 Act and the Energy Commission's founding. This is one of  
24 our charter responsibilities. The purpose behind these  
25 forecasts extends beyond our statutory mandate to support a

1 whole host of state-sponsored planning activities aimed at  
2 keeping California's energy supply clean, affordable, and  
3 reliable.

4           Next slide.

5           The California Energy Demand Forecast, often  
6 referred to as the IEPR Forecast, is foundational to  
7 procurement and system planning in the state. It's used by  
8 the CPUC and utilities to set resource adequacy  
9 requirements and as an input to the determination of the  
10 planning reserve margin. It's used by the CPUC for  
11 integrated resource planning, which drives procurement.  
12 And it's used by both CPUC and CEC for system reliability  
13 assessments. The California ISO uses the CEC forecast for  
14 transmission system planning. And the forecast is used by  
15 investor-owned utilities to support distribution system  
16 planning.

17           Next slide.

18           We adopt a new set of forecasts annually to  
19 ensure that system studies are rooted in fresh outlooks.  
20 This year, we intentionally minimized modeling changes to  
21 preserve stability at dimension of the forecast. As  
22 always, we refreshed our economic and demographic drivers  
23 with new projections from Moody's and Department of  
24 Finance.

25           We updated inputs and scenario definitions for

1 key load modifier, PV and storage, data centers,  
2 efficiency, and electrification. Because there is a great  
3 deal of uncertainty around these modifiers, we produced  
4 scenarios so that users of our forecast can assess multiple  
5 outcomes or select the scenario that best suits their  
6 particular use case.

7           Finally, we developed a new product this cycle,  
8 an initial assessment of the potential for known loads to  
9 cause incremental load growth beyond our forecast. This  
10 deserves some context, so next slide.

11           Known loads are energization requests made to  
12 utilities at the distribution system level, requests to  
13 interconnect things like apartment buildings, housing  
14 developments, warehouses, schools, and the like. The  
15 utilities submit this data to the CPUC as part of  
16 distribution system planning, and the data are shared with  
17 our forecasting team.

18           The data include projects --I'm sorry, project-  
19 level information such as capacity, customer sector,  
20 energization date, and assumed load profile. The forecast  
21 team used this data, along with assumptions informed by  
22 discussions with utility distribution planners, to develop  
23 a high bookend for system-level impacts that could  
24 reasonably be expected to result from these projects. We  
25 then calculated the difference between those impacts and

1 the year-over-year growth in our forecast.

2           There are reasons to consider incorporating some  
3 known load impact into our forecast, notably because of a  
4 misalignment that can occur between distribution planning  
5 and transmission planning. Utility distribution planners  
6 can plan for capacity additions that exceed the IEPR  
7 forecast, but transmission planning typically adheres to  
8 the IEPR directly. And this can lead to situations where  
9 distribution system upgrades are made to accommodate new  
10 loads, but no upgrades are made to the transmission. And  
11 this mismatch can cause delays to conducting projects. It  
12 can also lead to reliability risks. And on the other hand,  
13 we want to be careful about overestimating load in the  
14 short term, as this can lead to unnecessary cost to rate  
15 payers.

16           This is the first year that the CEC has  
17 considered using known load data in the forecast, and the  
18 first year that the IOUs have compiled these data for our  
19 forecasting. This means that we don't have a historical  
20 record to look at when evaluating key assumptions made in  
21 our analysis.

22           Also, the approach we've taken to determine  
23 incrementality to our forecast allows for substantial room  
24 for double counting. It's meant to give a bookend estimate  
25 to cover the very high end risk rather than to project a

1 most-likely outcome at the system level.

2           So while we are working with the IOUs to sort  
3 through the energization timelines to better understand  
4 this data, to validate our key assumptions, and to refine  
5 our analytical approach, there is still this question of  
6 how to mitigate the potential risk implied by known loads  
7 data.

8           Next slide, please.

9           So, this led to some deliberation between the  
10 CEC, CPUC, and CAISO about how best to balance  
11 uncertainties while being cautious about reliability and  
12 also considering affordability. This type of deliberation  
13 happens routinely at the end of every forecast cycle. Our  
14 three organizations reach a common understanding as to  
15 which components of our forecast are most reasonable to use  
16 in various planning studies. Typically, this has amounted  
17 to defining what we call a planning scenario, suitable for  
18 most system level studies, and a local reliability  
19 scenario, reflecting more aggressive load growth to  
20 mitigate the locational uncertainty associated with  
21 planning at the local level.

22           This cycle, known loads, together with data  
23 center loads, have added a new dimension of uncertainty,  
24 and so the picture is a bit more complicated. System RA  
25 and Flex RA will use the 2025 IEPR planning without known

1 loads. Because of the potential reliability risks, CEC  
2 will monitor known loads through 2026, leading up to 2027.  
3 The joint agencies have mitigations in the event that load  
4 is looking like it will be higher than what was planned  
5 for. Additionally, the CEC staff that work on the summer  
6 reliability assessment will run scenarios with and without  
7 known loads.

8           The two columns here in the middle, these are  
9 studies that are done by the California ISO that typically  
10 use the local reliability scenario. CAISO has agreed to  
11 run their models for these studies with and without known  
12 loads, an exception just for this cycle. The reason for  
13 running it with and without known loads is because the  
14 local capacity studies inform local RA, and we want to take  
15 more time to understand the known loads impacts before  
16 considering them per resource obligations.

17           The transmission local studies identify local  
18 areas that may need transmission upgrades, and so including  
19 known loads here helps with aligning distribution and  
20 transmission planning, which was our original objective  
21 when considering the known load projects this year.

22           And lastly, IRP and the transmission bulk system  
23 planning typically use the planning forecasts. These are  
24 midterm planning efforts looking three to seven years out,  
25 so here the joint agencies and CAISO will use the 2024 IEPR

1 planning forecast since uncertainty with known loads and  
2 data centers have the potential to result in higher levels  
3 of load than projected in the 2025 vintage, specifically in  
4 that 2028 to 2032 time frame. Sticking with the 2024 IEPR  
5 planning forecast will promote stability in resource and  
6 infrastructure planning that is already underway.

7           Next slide.

8           Here's a look at how these scenarios play out,  
9 specifically for statewide annual electricity sales. The  
10 2025 IEPR Forecast begins at a slightly lower point than  
11 previously forecast. The planning scenario remains lower  
12 than the 2024 vintage throughout the forecast period, and  
13 growth is slower in the initial years of the forecast.

14 Much of this can be attributed to building and  
15 transportation electrification. For this cycle, we revised  
16 our assumptions in response to federal opposition to  
17 decarbonization standards, effectively deferring  
18 electrification impacts to later years of the forecast.

19           We haven't yet seen the same direct opposition to  
20 efficiency standards. And, in fact, we modeled a broader  
21 set of standards this cycle, resulting in greater load  
22 reduction due to efficiency.

23           The 2025 IEPR local reliability scenario is  
24 actually quite close to the 2024 vintage throughout the  
25 forecast. This is because the reduction in electrification

1 impacts is not as significant, and in general we use more  
2 conservative assumptions around efficiency impacts relative  
3 to the planning scenario. Adding known loads to the local  
4 reliability scenario causes a significant increase to load  
5 in the near term, which is then held constant across  
6 subsequent years of the forecast.

7 Next slide, please.

8 Here's a look at the implications of these  
9 scenarios, which I should reiterate are generally crafted  
10 to support electricity system planning on end-user gas  
11 demand. We only update our gas forecast every two years,  
12 so I'm comparing the 2025 IEPR Forecast to the 2023  
13 vintage. I've added a baseline for reference, showing our  
14 gas forecast without the impact of efficiency or fuel  
15 substitution scenarios.

16 Building electrification significantly reduces  
17 gas demand in the planning and local reliability scenarios.  
18 Similarly to the last slide, we see that those impacts are  
19 deferred to later years in the new planning scenario.

20 Despite starting from a lower base year level,  
21 our planning forecast ends at a higher level than  
22 previously forecast.

23 Next slide.

24 And here's a look at peak electricity demand for  
25 the CAISO system. The story here is largely similar to the

1 sales forecast. We do start at a slightly higher point  
2 than previously forecast rather than a lower starting  
3 point, but otherwise deferred electrification and higher  
4 efficiency impacts produce a lower planning forecast  
5 relative to the 2024 IEPR.

6 The local reliability scenario is comparable to  
7 last year. And then our known loads analysis has 3,800  
8 megawatts on top of the local reliability scenario. This  
9 impact materializes by 2028 and persists for the remainder  
10 of the forecast period.

11 Next slide, please.

12 I did want to highlight the main drivers to peak  
13 load growth just to show their relative contribution. This  
14 chart shows the absolute megawatt change of these specific  
15 categories of load impacts from 2025 to 2045. This is all  
16 for CAISO, and we're looking just at September on the peak  
17 day from 6:00 to 7:00 p.m. These are taken from our  
18 planning forecast.

19 Our consumption forecast without any of these  
20 drivers still grows a considerable amount, over 6,000  
21 megawatts. So this is the portion of our forecast that's  
22 generally driven by, say, economic and demographic growth.  
23 Our climate change analysis adds about 1,800 megawatts.  
24 Data centers contribute more than 4,700 megawatts. Despite  
25 the more conservative assumptions, vehicle

1 electrification (indiscernible).

2 CHAIR HOCHSCHILD: Sorry, Nick. When you say  
3 climate change, you mean by that just higher temperatures,  
4 higher AC, or is there something else?

5 MR. FUGATE: Yeah.

6 CHAIR HOCHSCHILD: Yeah.

7 MR. FUGATE: That's it exactly it.

8 CHAIR HOCHSCHILD: Okay. Yeah.

9 MR. FUGATE: So despite the more conservative  
10 assumptions, vehicle electrification is still the largest  
11 single category with all vehicle classes combining for over  
12 8,200 megawatts. Additional achievable fuel substitution  
13 accounts for another almost 4,500 megawatts. PV and  
14 storage adoption both grow substantially over the forecast  
15 period, but their impacts at the peak hour are marginal,  
16 combining for about 1,500 megawatts of load reduction. And  
17 additional achievable efficiency reduces load by over, I  
18 sorry, over 4,000 megawatts.

19 All combined, the net increase is just shy of  
20 20,000 megawatts by 2045.

21 CHAIR HOCHSCHILD: Can I ask a question? It's  
22 not kind of called out here separately, but if building  
23 electrification were a category, because now we've gone  
24 from, you know, virtually no new construction being built  
25 all-electric to the vast majority being all-electric today,

1 where would that be increased building electrification?

2 MR. FUGATE: I don't have it labeled as building  
3 electrification, but fuel substitution impacts is  
4 essentially our building electrification category.

5 CHAIR HOCHSCHILD: Got it.

6 COMMISSIONER MCALLISTER: (Indiscernible.)

7 CHAIR HOCHSCHILD: Right, but that's -- okay, so  
8 I guess that's inclusive of new construction and retrofits,  
9 you know, just --

10 MR. FUGATE: Yeah, so, yeah, that is. That is.  
11 We considered both of them together, yeah.

12 CHAIR HOCHSCHILD: Okay, I'm just trying to get a  
13 handle. Like, just for new construction alone, I don't  
14 know if we can hazard a guess, like how significant is that  
15 load?

16 MR. FUGATE: I wouldn't --

17 CHAIR HOCHSCHILD: Okay.

18 MR. FUGATE: I don't have that off the --

19 CHAIR HOCHSCHILD: Okay.

20 MR. FUGATE: Top of my head.

21 CHAIR HOCHSCHILD: No problem. I was just  
22 curious.

23 COMMISSIONER MCALLISTER: I'm thinking the new  
24 construction would just be in the base forecast; right?  
25 Like the reflection of the fact that going forward,

1 increasing number of all-electric new construction, that  
2 would be in the kind of baseline forecast, I would imagine,  
3 since --

4 MR. FUGATE: Yeah, so we do have new construction  
5 growth in our --

6 COMMISSIONER MCALLISTER: Yeah.

7 MR. FUGATE: -- in our forecast.

8 COMMISSIONER MCALLISTER: Yeah.

9 MR. FUGATE: Right. So our assumptions, I mean,  
10 that is part of our --

11 COMMISSIONER MCALLISTER: Yeah.

12 MR. FUGATE: -- residential sector model and  
13 residential commercial. Those models are largely like the  
14 marginal kind of energy intensity.

15 COMMISSIONER MCALLISTER: Yeah.

16 MR. FUGATE: New construction is informed  
17 primarily by, say, our RASS and our CEUS surveys.

18 COMMISSIONER MCALLISTER: Yeah.

19 MR. FUGATE: And then there's additional analysis  
20 that we do on top of that to project what, sort of, like  
21 what that new construction contributes to, like the overall  
22 population of fuel substitution that can occur on top of  
23 that.

24 COMMISSIONER MCALLISTER: Yeah, I guess maybe  
25 just building on that question, that the data that we have

1 from RASS and CEUS, but particularly in this case, the RASS  
2 for residential, would be a little bit -- would have some  
3 lag to it. And so to the extent we have new data that  
4 shows that, you know, 60, 70 percent of new residential is  
5 all-electric, would just be good to -- and that's actually  
6 existing policy that's in place, it's the Building Code,  
7 and it's actually what's happening out there already, so  
8 that, I think, just confirming that that would be in the  
9 base forecast. And then sort of policy drivers for  
10 additional incremental would be, you know, in another  
11 bucket.

12 MR. FUGATE: Yeah, there are a lot of kind of  
13 interacting pieces here.

14 COMMISSIONER MCALLISTER: Yeah.

15 MR. FUGATE: Because like a lot of what's modeled  
16 in the AFS has to do with errors --

17 COMMISSIONER MCALLISTER: Yeah. Yeah.

18 MR. FUGATE: -- that we're anticipating. And so  
19 like there is some --

20 COMMISSIONER MCALLISTER: Yeah.

21 MR. FUGATE: -- some that apply to new  
22 construction. So it's hard to --

23 COMMISSIONER MCALLISTER: Yeah, I got it. Okay.  
24 Yeah. Yeah, again, I think the effects are going to be  
25 relatively small here in this graph, but I really do

1 appreciate this graph to break it all out, so thanks.

2 MR. FUGATE: We can move to the next slide.

3 So here I'm showing a full list of workshops and  
4 DAWG meetings that we have held throughout the year. And  
5 on behalf of the CEC's Forecast Team, I would like to thank  
6 all of our colleagues and stakeholders who took the time to  
7 participate in these meetings and provide input to our  
8 process.

9 Particularly, as our meeting schedule extended  
10 quite late into the year and even into 2026, we held our  
11 last DAWG meeting on January 5th of this month, which is a  
12 little out of the ordinary. Typically, we present draft  
13 results at a final December workshop, then any adjustments  
14 that we make are, after that, are included in the final  
15 package that we propose for adoption.

16 This cycle, we were already aware of and  
17 discussed at our December workshop several adjustments that  
18 we were to make I didn't have time to pull into our  
19 workshop presentations. Most notably, we had identified  
20 some sizable known load projects that were duplicative with  
21 our data center accounting. While we described the  
22 correction we were intending to make at the workshop, we  
23 didn't want to wait until today to show the impact.

24 Also, following the workshop, we deliberated with  
25 CPUC and CAISO. I mentioned this on a previous slide.

1 It's a routine part of our process. But I'll add that out  
2 of these deliberations comes what we call the single  
3 forecast set agreement. It's a public facing record of how  
4 our various forecast scenarios and products are expected to  
5 be used. We typically document this agreement within the  
6 body of the IEPR report, but because the agreement is  
7 duplicated than usual this cycle, we wanted to preview it  
8 at a DAWG meeting rather than waiting for the final IEPR  
9 report publication.

10 You go to the next slide.

11 So adoption of the forecast today will ensure  
12 that dependent planning processes can proceed without  
13 critical delays. So I will conclude with the staff  
14 recommendation that the Commission adopt the California  
15 Energy Demand Forecast for 2025 to 2045, along with the  
16 staff recommendation that the forecast is not a project  
17 under CEQA.

18 And so, Chair, if it's all right, I would like to  
19 invite Matt Coldwell with the CPUC.

20 CHAIR HOCHSCHILD: Yeah, please do.

21 MR. FUGATE: -- to speak.

22 MR. COLDWELL: Thanks Nick.

23 So, yeah, good morning. My name is Matt Coldwell  
24 and I'm here today on behalf of the CPUC's Energy Division.  
25 And let me just start by thanking the Commissioners and the

1 CEC staff and management for giving Energy Division an  
2 opportunity to just make a few brief remarks this morning.

3           So the bottom line is I'm here today to express  
4 our support for the resolution adopting the 2025 California  
5 Energy Demand Forecast. So Nick did a great job at  
6 covering all the reasons why the joint agencies and the  
7 California ISO came to the decision that he outlined, so I  
8 won't repeat what he's already said, although I do just  
9 want to comment quickly on what Nick talked through on the  
10 initial known load analysis that's included in this year's  
11 forecast, which, as Nick mentioned, is the very first time  
12 that the CEC has incorporated this data into its  
13 forecasting process.

14           And so -- (clears throat) excuse me -- so in  
15 recent years, the Joint Agency and California ISO had  
16 identified that this data can have a potential value for  
17 inclusion in the CEC's forecast. And so in October of  
18 2024, as part of the CPUC's High Distributed Energy  
19 Resources proceeding, the CPUC approved a decision to make  
20 various improvements to the electric utility distribution  
21 planning process.

22           And part of that direction in the decision  
23 required the state's large investor-owned utilities to  
24 provide the CEC with the known loads data so the CEC can  
25 begin to look at different methods to potentially

1 incorporate it into its forecast. And so that's what  
2 you're seeing as a result here today in this year.

3 So since that decision, Energy Division staff has  
4 really worked closely with CEC staff. So we really  
5 appreciate that. You know, we worked closely with them on  
6 collecting the known load data. And we've had several  
7 discussions about how the data can be potentially used in  
8 the 2025 forecasts.

9 And so for all the reasons that Nick mentioned,  
10 we really are encouraged by how known loads are reflected  
11 in this year's forecast and really look forward to seeing  
12 how that evolves, you know, through time and in future  
13 forecast cycles.

14 So just wanted to emphasize our commitment to  
15 continue to work with the Joint Agencies and California ISO  
16 on future vetting and monitoring and refinements to that  
17 known load data analysis.

18 And I'll just end by, you know, congratulating  
19 CEC staff and their continued excellent work to produce the  
20 Statewide Energy Demand Forecast every year. So I really  
21 thank them and staff at the California Air Resources Board,  
22 as well as the California ISO, for the continued  
23 collaboration and partnership on statewide energy planning.

24 So I'll just leave it at that. Thank you.

25 MR. FUGATE: Thank you, Matt.

1           And we also should have, should have Cristy  
2 Sanada at the California ISO.

3           MS. SANADA: Good morning. I'm Cristy Sanada.  
4 I'm speaking on behalf of the California Independent System  
5 Operator. Thank you very much to the CEC for the  
6 opportunity to speak today.

7           I am speaking in support of CEC adopting the 2025  
8 California Energy Demand Forecast. The CEC's Demand  
9 Forecast is a key part of the Memorandum of Understanding  
10 among the CEC, CPUC, and CAISO to align on inputs that are  
11 used in respective energy planning processes. The CAISO,  
12 in particular, uses the CEC's forecast set in its  
13 transmission planning process which includes bulk system,  
14 economic policy, and local transmission planning. We also  
15 use the CEC's forecast in our calculation of forward,  
16 flexible, and local resource adequacy requirements.

17           Because the CEC's forecast and grid planning and  
18 procurement processes are so closely intertwined, the CEC,  
19 PUC, CAISO, and CARB meet year-round to discuss the  
20 development of the forecast and use of adopted forecast  
21 sets in respective processes. This long-standing  
22 collaboration is critical to not just support forecast  
23 development but also to ensure that state agencies and  
24 CAISO have clear lines of sight into how forecast updates  
25 may impact planning and procurement.

1           Ultimately, the CAISO supports the CEC adopting  
2 the 2025 California Energy Demand Forecast and supports the  
3 Joint Agency direction on forecast compositions for  
4 different use cases.

5           The forecast development cycle never fails to  
6 find new challenges to work through. This cycle's  
7 challenges centered on the use of new known load data from  
8 utilities which Nick and Matt talked about quite a bit  
9 already. But we think that the CEC's approach ultimately  
10 strikes the right balance this forecast cycle in light of  
11 these uncertainties.

12           Specifically, the CAISO supports the CEC adopting  
13 a local reliability forecast with known loads which will  
14 provide lead time to plan and develop potential long-term  
15 transmission infrastructure needs to support potential load  
16 growth and reliability in local areas.

17           The CAISO also supports the CEC adopting a  
18 planning forecast without known loads, recognizing that  
19 although the CEC staff did a significant amount of work  
20 with this new data set this cycle, uncertainties still  
21 remain regarding the actual timing of these new loads in  
22 the very near term and whether components and known loads  
23 may already be accounted for in other parts of the CEC's  
24 forecast. The CAISO supports CEC taking additional time to  
25 vet known load data and interactions with existing forecast

1 components before including incremental effects into the  
2 planning forecast.

3           And I want to touch on something that Nick  
4 mentioned regarding the decision to not include the known  
5 loads in the planning forecast this cycle. The CAISO and  
6 joint agencies have committed to monitoring the progress of  
7 known load development throughout 2026. And in the event  
8 that load is showing growth at a higher pace than assumed  
9 in the adopted forecast, then the CAISO and Joint Agencies  
10 have identified measures that can be leveraged to manage  
11 potential reliability risks that may emerge. So we will  
12 collectively keep a close eye on these trends this year.

13           And then finally, and most importantly, I just  
14 want to thank the CEC staff who has been so diligent in  
15 collaborating across agencies and CAISO with stakeholders,  
16 taking input, updating and exploring new approaches  
17 throughout the forecast cycle. We really appreciate all  
18 the hard work as always and look forward to continuing the  
19 excellent collaboration.

20           Thank you.

21           CHAIR HOCHSCHILD: Anyone else you wanted to  
22 comment?

23           MR. FUGATE: No.

24           CHAIR HOCHSCHILD: Okay.

25           MR. FUGATE: I think that's all we're expecting.

1 CHAIR HOCHSCHILD: Okay. Great. Thank you.

2 Let's go to public comment on Item 6.

3 MR. YOUNG: Thank you, Chair.

4 The Commission now welcomes public comments on  
5 Item 6 to notify us that you want to comment on this item.  
6 And if you're in the room, please use the QR code posted in  
7 the back or visit the Public Advisor table in the back of  
8 the room. If you're on Zoom, please click on the raised-  
9 hand feature on your screen. And if you're joining us by  
10 phone, please press star nine to raise your hand.

11 We have a number of commenters in the room. I'm  
12 first going to welcome Josh Harmon. Josh, please approach  
13 the podium, state and spell your name for the record, and  
14 we welcome your public comment. After Josh, we're going to  
15 hear from Sarah Taheri.

16 MR. HARMON: Josh Harmon, J-O-S-H H-A-R-M-O-N, on  
17 behalf of Pacific Gas & Electric Company. Good morning,  
18 Chair, Commissioners.

19 We just want to thank the entire Demand  
20 Forecasting Team at the CEC for the excellent collaboration  
21 over the last year. Accurately predicting future demands  
22 on the system and where exactly that demand will occur is  
23 only getting more difficult. And we truly appreciate  
24 staff's partnership and working through these questions  
25 together.

1           Specifically, staff iterated with us to ensure we  
2 had a shared understanding of the demand data that we were  
3 working with and that we were working with the most current  
4 information. This proved especially tricky for data  
5 centers. Adjustments were needed late in the IEPR cycle  
6 because we continued to get significant project updates  
7 from customers, such as signed agreements for service that  
8 moved them from CEC's Group 2 to the more certain Group 1.

9           We also appreciate and support CEC's decision to  
10 include known loads for the transmission local studies use  
11 cases but not for the planning forecast this year. This  
12 approach supports affordability while ensuring that grid  
13 investments are appropriately sized. We recognize that  
14 known loads were an especially impactful and complex  
15 variable this cycle and commend staff's ability to include  
16 them on short notice.

17           As always, we're excited to support the CEC's  
18 continuous improvement on the Demand Forecast and look  
19 forward to another year of partnership.

20           Thank you.

21           MR. YOUNG: Thank you. We'll next welcome Sarah  
22 Taheri, followed by Carrie Bentley.

23           Sarah, please state and spell your name for the  
24 record. We welcome your comment.

25           MS. TAHERI: Great. Thank you. My name is Sarah

1 Taheri. It's S-A-R-A-H T-A-H-E-R-I. And I'm here today  
2 with San Diego Gas & Electric, and SoCalGas.

3 As was noted and discussed in the presentation of  
4 this item, the CEC forecast plays a significant role in  
5 shaping California's energy and climate policies.

6 Downstream from the CEC's work, the forecast informs  
7 significant proceedings at other agencies, including but  
8 not limited to rate making, resource adequacy, resource  
9 planning and procurement, distribution and transmission  
10 planning, CARB's Cap and Invest Program, and various agency  
11 proceedings related to zero-emission appliances.

12 We recognize the forecast process is complex,  
13 both in content and timing of interdependent proceedings.  
14 And we recognize that adding new components to the forecast  
15 creates further complexity. However, given the wide span  
16 of uses for the forecast, it's critical that robust  
17 consideration be given to ensure that the forecast uses  
18 best available data, can be nimble enough to adjust to  
19 shifts in policy, and reflects a diverse range of possible  
20 scenarios. We look forward to continuing to collaborate  
21 with the CEC to support those goals.

22 On behalf of SDG&E specifically, I did want to  
23 just share some insights into our process here. We've been  
24 having ongoing discussions with the CEC team to discuss  
25 continued disparities between the CEC's 2025 retail sales

1 forecast and San Diego's actual weather-normalized data.  
2 The difference is about five percent, so the CEC's forecast  
3 is about five percent lower than SDG&E's 2025 weather  
4 normalized actuals. And our concern is that that low point  
5 is kind of percolating across year to year, resulting in  
6 low forecasts in each subsequent year.

7 We hope to continue to collaborate and work with  
8 CEC staff on analyzing that data and better understanding  
9 it. Our goal is to make sure that as we partner with the  
10 CEC, we are protecting against unintended consequences that  
11 may come up as this forecast gets used in downstream  
12 proceedings, so I appreciate that.

13 Just briefly in closing, I want to thank all the  
14 staff on behalf of both companies, and put in a plug for  
15 some extra vacation time given their work over the  
16 holidays. So thank you so much. Appreciate the  
17 consideration.

18 MR. YOUNG: Thank you.

19 I'd next like to welcome Carrie Bentley, followed  
20 by Meredith Alexander.

21 Carrie, please approach the podium, state and  
22 spell your name for the record, and we welcome your  
23 comment.

24 MS. BENTLEY: Hi, Carrie Bentley, C-A-R-R-I-E  
25 B-E-N-T-L-E-Y, and I represent the Western Power Trading

1 Forum. Good morning, Chair and Commissioners. WPTF is a  
2 nonprofit trade forum dedicated to transparency and  
3 competition. Our members include generator owners,  
4 developers, and load-serving entities here in California.

5 WPTF has long been a follower of the Demand  
6 Forecast and supporter of the Demand Forecast ever-changing  
7 methodology. At the last two reliability events in 2020  
8 and 2022, we actually produced webinars and public reports  
9 showing that the CEC load forecast was not a contributing  
10 factor in the reliability events and demonstrated how well  
11 staff has continually adjusted their methodology over time  
12 to account for varying actual load, new large load  
13 interconnections and increasing behind-the-meter policies.

14 Last year in the DAWG discussions around known  
15 load, it was as usual, thoughtful, conservative and yield  
16 an improvement to the load forecast. Known loads accounted  
17 for new state law and CPUC policy on energization  
18 timelines, as well as closed and observed gap between  
19 distribution and transmission-level forecasting.

20 On the 5th, however, this showed that known loads  
21 would be removed from the forecast in a Joint Agency  
22 decision. And there were many comments over concerns over  
23 affordability. WPTF does not believe that affordability  
24 should be a consideration in the load forecast itself, nor  
25 do we believe that the Public Resource Code or Memorandum

1 of Understanding supports Joint Agency decisions in the  
2 load forecast itself. The CPUC has other tools in its  
3 toolkit to address reliability and intervening in the load  
4 forecast risks reliability.

5 We request that the Commission reconsider the  
6 adoption of known loads, or at least immediately launch  
7 reliability workshops around the impact of not including  
8 this in it's important reliability summer assessments.

9 Thank you for your continual work and for  
10 considering our concerns.

11 MR. YOUNG: Thank you.

12 I'd now like to welcome Meredith Alexander.  
13 Please state and spell your name for the record and we  
14 welcome your comment.

15 MS. ALEXANDER: Meredith M-E-R-E-D-I-T-H,  
16 Alexander, A-L-E-X-A-N-D-E-R. I'm here on behalf of the  
17 California Coalition of Large Energy Users, or CCLEU  
18 (phonetic). Good morning, Chair Hochschild and  
19 Commissioners. Thank you again for the opportunity to  
20 comment.

21 CCLEU is a new organization made up of some of  
22 the state's largest energy customers, all of whom are also  
23 actively working on projects that will add load to  
24 California's grid. Therefore, CCLEU finds the accuracy of  
25 load forecast to be of utmost importance and so we're

1 weighing in at this time. We've been very interested and  
2 supportive of the Commission's commitment this year to  
3 capturing near-term load growth in the forecast and find  
4 this to be, again, critically important.

5           As a new organization, we weren't directly  
6 engaged throughout the Demand Analysis Working Group  
7 discussions, but observed that they were moving in a very  
8 valuable direction. In December, your staff presented the  
9 final draft methodology, as also discussed here, which we  
10 found reflected adjustments in response to stakeholders and  
11 to new data analysis. And we observed broad stakeholder  
12 support for the staff's December proposal.

13           Therefore, CLLEU is also troubled by the change  
14 shared at the January 5th working group meeting, which we  
15 observe was done without full transparency and  
16 deliberation, specifically the removal of known loads from  
17 the planning and the local forecast.

18           At this point, we're concerned that there could  
19 be real effects on reliability and costs in the next few  
20 years. If the forecast is artificially low, load-serving  
21 entities could under-procure capacity, meaning that our  
22 load-serving entities are not sufficiently resourced to  
23 serve our new loads. At a worst case, this could put our  
24 state at risks of the type of unplanned outages we saw in  
25 2020 or repeating the extraordinary and very expensive

1 measures that were taken in 2022 to keep the lights on.

2           So we very much appreciate that you will factor  
3 known loads into your summer reliability studies. But  
4 we're asking you again to reconsider their inclusion in the  
5 planning and local forecast. And we look forward to  
6 working with your staff going forward.

7           Thank you.

8           MR. YOUNG: Thank you.

9           I'm next going to turn to Zoom. We have one  
10 commenter, Katy Morsony. I'm going to unmute your line.  
11 Please unmute on your end, state and spell your name for  
12 the record, and we welcome your comment.

13           MS. MORSONY: Good morning. Can you hear me?

14           MR. YOUNG: We can hear you. Thank you.

15           MS. MORSONY: Wonderful. Thank you. Good  
16 morning. My name is Katy, K-A-T-Y, Morsony, M-O-R-S-O-N-Y.  
17 I'm here today on behalf of the California Community Choice  
18 Association. CalCCA represents 24 member CCAs serving the  
19 generation needs of 15 million Californians.

20           I'd like to start by thanking you for the  
21 opportunity to comment on the 2025 IEPR Demand Forecast.  
22 CalCCA is here today to urge the CEC to adopt the Demand  
23 Forecast presented at the January 5th Demand Analysis  
24 Working Group and discuss today.

25           I'd like to commend the CEC staff for a

1 thoughtful and participatory process to develop the 2025  
2 IEPR. CalCCA appreciates the opportunity it's had to  
3 participate in the development of the forecast through  
4 workshops, demand analysis working groups, and drafting  
5 comments. And the end result of all of the CEC's hard work  
6 is reflected in the measured approach taken in the 2025  
7 Demand Forecast.

8           In particular, CalCCA wants to support the  
9 decision to exclude known loads from the planning forecast.  
10 The role of known loads in the forecast has been under  
11 consideration throughout the development of the forecast  
12 and believe -- we believe that the end results today should  
13 be adopted. Protecting against unnecessary cost pressures  
14 means that the planning forecast should reflect the best  
15 estimate of demand and rely on more certain data. There is  
16 significant uncertainty in known loads, including the  
17 timing of energization of the load, and excluding the load  
18 from the planning forecast protects ratepayers against  
19 higher cost associated with load that has not necessarily  
20 materialized or has -- with load that has not yet  
21 materialized.

22           CalCCA also notes that throughout this process,  
23 the CEC has offered many opportunities for feedback on  
24 known loads and including known loads in the forecast.  
25 Additional time for consideration is not necessary.

1           We look forward to continuing to participate in  
2 the IEPR process moving forward. CalCCA in particular will  
3 be participating on future discussions relating to known  
4 loads, but also hoping to provide feedback on how data  
5 center loads will be impacting the forecast.

6           Thank you so much for your time today.

7           MR. YOUNG: Thank you for the comments.

8           Chair, that concludes public comment for this  
9 item. Back to you.

10          CHAIR HOCHSCHILD: Okay. Well, let me just begin  
11 with thank you, Nick, to you and the team. What you do is  
12 very difficult to do.

13          And, you know, one thing I want to just observe  
14 and there's so much electrification happening in areas that  
15 we never -- because I just bought an electric chainsaw. I  
16 do, you know --

17          COMMISSIONER MCALLISTER: Yeah.

18          CHAIR HOCHSCHILD: -- my gardening and stuff, and  
19 I've been chopping wood with this chainsaw, works great.  
20 And this is something that, you know, two years ago, I  
21 would have said you're crazy, but we're seeing this, you  
22 know, with everything from electric tractors to two  
23 wheeled, three wheel electric device. I mean, and gauging  
24 that and the rate of adoption of these is -- it's a complex  
25 job.

1           I wanted to, just before I turn it over to  
2 Commissioner McAllister, I just had a couple quick  
3 observations. I think the take-home point for me in that  
4 really helpful chart is that you are seeing EV load  
5 basically be double data centers; right? And there's a lot  
6 of talk about this. So how much data center load really  
7 shows up is, you know, right now, just to good to know  
8 where we're at.

9           But I guess the question I want to begin with is  
10 relative to the uncertainty that you've had in previous  
11 reports, how much uncertainty is there about this estimate  
12 versus in the past when we put out a load forecast, you  
13 know, our confidence, you know, level, is it roughly  
14 comparable? Do you feel it's higher uncertainty or what?

15           MR. FUGATE: I think the uncertainty is sort of  
16 the key consideration in our forecast right now. It's been  
17 the story the last couple of cycles. This known loads  
18 question has put uncertainty sort of front and center in  
19 all of our discussions this cycle.

20           And, yeah, I think it is fair to say that the  
21 uncertainty has increased significantly over the last few  
22 cycles. And I think one of our responses to that has been  
23 to fill up more scenarios. So I think you see each cycle,  
24 we are adding scenarios to each of these kind of categories  
25 of load modifiers to sort of capture a broader range of

1 what would happen for, you know, to provide that for  
2 stakeholders to consider.

3           So I'm just providing a point forecast. We do, I  
4 think you saw in my presentation, we do land on several  
5 sort of point forecasts, but wrapped around that are  
6 several other scenarios that we have developed across all  
7 these different categories to reflect other ways that  
8 future growth in these that really critical considerations  
9 could play out.

10           CHAIR HOCHSCHILD: Right. Okay.

11           With that, let me turn it over to Commissioner  
12 McAllister.

13           COMMISSIONER MCALLISTER: Thanks, Chair.

14           Well, thanks, Nick, for a great presentation, and  
15 Heidi and the whole team, really appreciate all of you,  
16 getting briefed along the way, you know, multiple times.  
17 And I'm comfortable with this proposal to adopt this  
18 forecast.

19           I did want to just make a few comments.

20           I really appreciate folks who showed up in the  
21 room and on Zoom to talk, to comment on it, and certainly  
22 appreciate the concerns about the, you know, the decisions  
23 sort of in the discussion at the DAWG and across the  
24 agencies. And I think it does reflect this increased  
25 uncertainty. And I think we're landing in a good place to

1 use, you know, all, you know, do an all-in, more of an all-  
2 in approach for the local reliability but be a little more  
3 judicious and circumspect on the planning, the broader  
4 planning activities.

5           And, you know, I know that the reason that sort  
6 of the talking through it and sort of understanding the  
7 dialogue across all the stakeholders, you know, the known  
8 loads discussion, as Nick said, I think it was very brave,  
9 actually, for staff to take that on and put it front and  
10 center and just embrace the uncertainty that we all face.  
11 I mean, you know, the media, every day, there's a lot of  
12 alarmism about data centers and that's much about  
13 electrification from the emissions perspective, but just  
14 from reliability perspective and data centers and AI, et  
15 cetera.

16           And I think, you know, load people really just  
17 don't have the tools to understand it and tools to think  
18 about it in a productive way. And I think that's been what  
19 this conversation has been about is digging in, what data  
20 do we know, what uncertainties, what we don't know, and  
21 it's changing every day. And so, you know, the data, I've  
22 got to give some kudos to the utilities for also really  
23 trying to figure out what load is going to show up, which  
24 interconnection requests are real, which projects are  
25 likely to get built and where. And that is an evolving

1 conversation and that's been very clear throughout.

2           And so, you know, I think that the team, Nick  
3 and Heidi and Aleecia and David Erne, and Vice Chair Gunda,  
4 certainly his leadership has been critical throughout, so,  
5 you know, I think we're landing in a good place. And this  
6 work will continue. Part of the message is that we're not  
7 going to just wait until the next update, you know, to talk  
8 about known loads. We're actually going to continually  
9 improve this. There's a positive kind of feedback across  
10 the agencies. The PUC has role and authorities and that  
11 they can use to take this forecast and build on it and make  
12 decisions appropriately as we learn more and work together.  
13 And likewise, the Cal ISO. So I think this is an amazing  
14 resource for the state.

15           And, you know, I'd also just point out that --  
16 and I say this every time, but the fact that the Energy  
17 Commission, you know, the State Energy Office of California  
18 takes the lead on the forecast is was completely unique.  
19 No other state does it like this. And, you know, often  
20 it's sort of take the utility's word for it without a whole  
21 lot of due diligence because of lack of staff at PUCs  
22 across the country. And so we're super fortunate to have a  
23 more public conversation, stakeholder convenings, active  
24 engagement from our utilities. So I want to acknowledge  
25 the SDG&E conversation, which, again, will continue sort of

1 in real time as we, you know, dig in together with SDG&E  
2 staff.

3           So I will reiterate what the Chair said, just  
4 really appreciate the slide 38, I think it was, which is  
5 that waterfall chart, to unpack what's really going on and  
6 really ground truth our evolution towards a more  
7 electrified economy and all that that implies dealing with  
8 climate change, you know, buildings and transportation, and  
9 so the positive contribution of energy efficiency. I think  
10 over time, we may even be able in the capacity -- so that  
11 was a capacity waterfall chart. And that chart over time,  
12 hopefully we'll be able to break out a little bit of load  
13 flexibility as well. It's a downward pressure on the peak  
14 capacity. And so -- and efficiency and flexibility, I  
15 think have to be key resources on the affordability front  
16 to really improve the capacity factor of our system and  
17 decrease unit costs.

18           So, you know, I think those are the things that  
19 the forecast wrestles with. And it's just, I think it's a  
20 resource, both the substance of it and the product, but  
21 also the conversation and the platform to really be able to  
22 listen to everybody across the state. And again, you know,  
23 some disagreements about the details here, but that's kind  
24 of as it should be, given the fact that our uncertainty  
25 bars are greater than they have been in the past.

1           So I don't have any questions for you, Nick, but  
2 I just wanted to give a little bit more on the context  
3 here.

4           And I particularly want to thank Matt Caldwell,  
5 Cristy Sonata for their -- for your comments. I really  
6 appreciate your being here and giving some additional  
7 context from your perspective and your agency's  
8 perspectives.

9           So, yeah, I guess that's the extend of my  
10 comments. Really want to just support this item and  
11 appreciate the community, really that's what it is, that  
12 works on the forecast every year in earnest. And this is a  
13 moment we get to vote, but it's really an ongoing  
14 investigation, trying to ground truth, find out everything  
15 we didn't know and understand what we don't.

16           CHAIR HOCHSCHILD: Commissioner Skinner, do  
17 you --

18           COMMISSIONER SKINNER: This is one of the  
19 obviously most important aspects of the Commission's role  
20 and job, and one that I've always been very, very  
21 fascinated with and interested in. So I appreciate. And  
22 we heard from much -- much of the comment that we heard was  
23 around this question of either, you know, questioning or  
24 supporting the -- our -- this is the first time we've  
25 incorporated the known load and then how we factor it in

1 our line of what we project.

2 And so, of course, I love the fact that we're  
3 going to monitor it because as we know, no matter what  
4 choice we had made, there are unknown variables, and this  
5 is a forecast. So really appreciate that part of our role  
6 that we recognize and just do is that ongoing monitoring.

7 Now, a question I have, so your chart shows this  
8 growth in load from electric vehicles. Now it also, in  
9 that, you know, you factor things like battery storage,  
10 behind-the-meter photovoltaic, various things like that.  
11 And I wondered in, in the projection, given that there was  
12 the factoring of the EV growth, was there also any factor,  
13 you know, independent of how much it's used today of the --  
14 that the EVs themselves are battery storage and whether  
15 there was any incorporation of their either use or  
16 potential for being part of a load reduction device because  
17 of their storage capacity?

18 MR. FUGATE: Thank you for that question. So  
19 that is not a -- we don't model that explicitly at this  
20 time. So when I -- when we have discussed, for example,  
21 storage impacts at workshops and DAWG meetings this cycle,  
22 and what I was showing on my waterfall chart here, that is  
23 not inclusive of any potential for EVs to act as battery  
24 storage systems to sort of move load. So it's mostly  
25 battery storage systems. Some of them, standalone systems,

1 many of them, because they're -- we expect to be paired  
2 with storage -- or with PV. So those are the storage  
3 systems we're explicitly modeling at this time, but --

4 COMMISSIONER SKINNER: Appreciate that. At some  
5 point, I think, once, obviously, if it starts becoming more  
6 utilized, then I would hope that it would be factored. And  
7 we are now seeing more and more of our OEMs put their model  
8 EVs on the market with the capability that would allow  
9 customers to use it like that.

10 COMMISSIONER MCALLISTER: Great.

11 MR. FUGATE: Appreciate that.

12 COMMISSIONER MCALLISTER: Anything else?

13 CHAIR HOCHSCHILD: No, just, I did want to note  
14 the -- some of the concerns raised by --

15 COMMISSIONER MCALLISTER: Yeah.

16 CHAIR HOCHSCHILD: -- stakeholders today and  
17 appreciate that. I will say, my faith in the vice Chair  
18 and in the team doing this is really robust and --

19 COMMISSIONER MCALLISTER: Yeah.

20 CHAIR HOCHSCHILD: But I do want to note, there  
21 are so many moving parts and so many new electric  
22 technologies being introduced to the market, really at  
23 rates we've never seen before, that dialogue, close  
24 dialogue with stakeholders and continued engagement  
25 throughout the year is more important than ever so that we

1 get --

2 COMMISSIONER MCALLISTER: Yeah.

3 CHAIR HOCHSCHILD: -- as close to being right as  
4 we possibly can.

5 COMMISSIONER MCALLISTER: That would be great.

6 CHAIR HOCHSCHILD: So with that, I would --

7 COMMISSIONER MCALLISTER: Well, I will note, I'll  
8 see you and raise you one in terms of the electric  
9 chainsaw. I have one of those. It works great. And then  
10 I just bought an electric lawnmower --

11 CHAIR HOCHSCHILD: Okay.

12 COMMISSIONER MCALLISTER: -- battery powered  
13 electric lawnmower, which I'm super excited to get ahold  
14 of. And also --

15 CHAIR HOCHSCHILD: Load growth right here.

16 MR. FUGATE: Yeah.

17 COMMISSIONER MCALLISTER: Also -- yeah, exactly.  
18 Also, I'm not sure my yard work is going to grade create  
19 load much, but certainly not peak load.

20 But also just completed our switch to an EV  
21 household. So made a trip over the weekend, you know, and  
22 the charging infrastructure was full on there and no issue  
23 at all. And just, really, the products that we have are  
24 just better products. You know, it's like with energy  
25 efficiency, right, that often it's just a better product.

1 So, you know, you didn't know that you needed that iPhone  
2 until you actually bought it --

3 CHAIR HOCHSCHILD: Right.

4 COMMISSIONER MCALLISTER: -- and it was just a  
5 better product and made your life better. And I think  
6 that's what we're seeing across the board with  
7 electrification. So really excited about it. So no more  
8 combustion in my life and, you know, it's quieter and  
9 cleaner.

10 So thanks, Nick. And I will --

11 CHAIR HOCHSCHILD: Off-peak lawnmowing will be  
12 the new -- okay.

13 With that, I would welcome a motion --

14 COMMISSIONER MCALLISTER: So --

15 CHAIR HOCHSCHILD: -- on Item 6 from Commissioner  
16 McAllister.

17 COMMISSIONER MCALLISTER: Move Item 6.

18 CHAIR HOCHSCHILD: Is there a second from  
19 Commissioner Skinner?

20 COMMISSIONER SKINNER: Second.

21 CHAIR HOCHSCHILD: All in favor, say aye.  
22 Commissioner McAllister?

23 COMMISSIONER MCALLISTER: Aye.

24 CHAIR HOCHSCHILD: Commissioner Skinner?

25 COMMISSIONER SKINNER: Aye.

1 CHAIR HOCHSCHILD: And I vote aye as well. Item  
2 6 passes three to zero. Thank you, Nick. Appreciate it.

3 MR. FUGATE: Thank you.

4 CHAIR HOCHSCHILD: With that, we'll turn to Item  
5 7, Gas Research and Development Program 2025 Annual Report.

6 Ferris Chu.

7 MS. CHU: Good morning, Chair and Commissioners.  
8 My name is Ferris Chiu and I am an Electric Generation  
9 System Specialist in the Strategic Analysis Unit at the  
10 Energy Research and Development Division. Today, I will be  
11 presenting an overview of the Gas Research and Development  
12 Program Annual Report covering fiscal year 2024 to 2025.

13 Next slide, please.

14 The fiscal year 2024 to 2025 report provides the  
15 legislature, the California Public Utilities Commission,  
16 and the public a summary of the California Energy  
17 Commission's administration of the Gas Research and  
18 Development Program, the impacts, and the rate payer  
19 benefits. We will be going over the program background,  
20 quantified benefits, investments, and project highlights.

21 Next slide, please.

22 Every year, we seek to highlight some of the  
23 achievements of the program, including cumulative impacts  
24 over the years. The Gas Research and Development Program  
25 has invested \$344.5 million across 314 research,

1 development, and demonstration projects since the program's  
2 inception in 2004, working to ensure that California's gas  
3 system remains cost-effective and safe while pursuing  
4 equitable decommissioning.

5 Award recipients have attracted \$5.9 billion to  
6 date in follow-on investments. And approximately 46  
7 percent of program funds for demonstration have been  
8 invested in non-combustion projects located in and  
9 benefiting disadvantaged and low-income communities since  
10 fiscal year 2016 to 2017.

11 Next slide, please.

12 We would also like to highlight benefits to  
13 Californian. Based on the fiscal year 2024 to 2025 Gas R&D  
14 Recipient Survey, an estimated 375,000 therms of fossil gas  
15 consumption was avoided during the fiscal year. An  
16 estimated 2,000 metric tons of carbon dioxide equivalent  
17 emissions were avoided, which is equivalent to removing  
18 almost 500 internal combustion cars from the road for one  
19 year. Roughly 1,200 participants took part in community  
20 engagement activities, and about \$500,000 were reported in  
21 on-bill savings.

22 In this year's report, we've selected six  
23 projects that feature notable success from the last year  
24 within the Gas R&D Program. In the interest of time, we  
25 will be going over one of the projects.

1                   Next slide, please. Thank you.

2                   This highlighted project focuses on locating  
3 methane hotspots and monitoring emissions in the San  
4 Joaquin Valley. Detecting sources of methane allows  
5 California to effectively plan the mitigation and reduction  
6 of methane emissions. The project team at Lawrence  
7 Berkeley National Laboratory aims to advance detection of  
8 large emitters of methane in the San Joaquin Valley, a  
9 region home to more than 4 million Californians and  
10 significant social and environmental challenges.

11                   Methane mitigation would lower greenhouse gas  
12 emissions by about 3.1 million metric tons of carbon  
13 dioxide equivalent per year, as well as a reduction of  
14 about 3,000 tons of hazardous air pollutants per year.  
15 Through this project, an estimated \$7 million per year  
16 could be saved from avoiding leaks and inefficiencies in  
17 the San Joaquin Valley. And the avoided climate and health  
18 damages from mitigated emissions are estimated to save over  
19 \$56 million per year.

20                   Next slide, please.

21                   Staff recommends the Commission approve the Gas  
22 Research and Development 2025 Annual Report. Following  
23 this, staff will submit the annual report to the  
24 legislature and to the California Public Utilities  
25 Commission.

1           Next slide, please.

2           Thank you. This concludes my presentation. I am  
3 available to take any questions you may have. Thank you  
4 for your time.

5           CHAIR HOCHSCHILD: Thank you.

6           We will turn now to public comment on Item 7.

7           MR. YOUNG: Thank you, Chair.

8           CHAIR HOCHSCHILD: Yeah.

9           MR. YOUNG: The Commission now welcomes public  
10 comment on Item 7. To notify us that you wish to comment  
11 on this item and if you're in the room, please use the QR  
12 code posted in the back or visit the Public Advisor table  
13 in the back of the room. If you're on Zoom, you're going  
14 to click on the raise-hand feature on your screen. And if  
15 you're joining us by phone, press star nine to raise your  
16 hand.

17           Chair, we don't have any commenters either in the  
18 room or in-person. Back to you.

19           CHAIR HOCHSCHILD: Okay, let me go to my  
20 colleagues for any comments.

21           Commissioner McAllister?

22           COMMISSIONER MCALLISTER: Great. I really  
23 appreciate it. I really appreciate the presentation.  
24 Thanks, Ferris. And I appreciate all the work that goes  
25 into it. It reflects an amazing amount of work over many

1 years. And I appreciate highlighting some of the projects  
2 that are most notable. But I really appreciated the  
3 briefing. And I think this reflects really well on all the  
4 work and encompasses the effort well and expresses it well.  
5 And we'll be good reading over the legislature and the PUC,  
6 so thanks. And no other comments.

7 CHAIR HOCHSCHILD: Commissioner Skinner, no  
8 comments? Okay.

9 With that, I would welcome a motion on Item 7  
10 from Commissioner McAllister.

11 COMMISSIONER MCALLISTER: Move Item 7.

12 CHAIR HOCHSCHILD: Is there a second from  
13 Commissioner Skinner?

14 COMMISSIONER SKINNER: Second.

15 CHAIR HOCHSCHILD: All in favor, say aye.  
16 Commissioner McAllister?

17 COMMISSIONER MCALLISTER: Aye.

18 CHAIR HOCHSCHILD: Commissioner Skinner?

19 COMMISSIONER SKINNER: Aye.

20 CHAIR HOCHSCHILD: And I vote aye as well. Item  
21 7 passes three to zero. Thank you, Ferris. Good job.

22 We'll turn next to Item 8, California Energy  
23 Power and Innovation Collaborative.

24 And I welcome Taylor to present.

25 MR. NGUYEN: Hi, good morning, Chair and

1 Commissioners. My name is Taylor Nguyen. I'm staff in the  
2 Fuels & Transportation Division. And I'm excited to  
3 present Item 8 to you today, which covers one of the  
4 (indiscernible) the solicitation.

5 Next slide, please.

6 So the purpose -- the agreement that I'm  
7 presented today is the product to the solicitation titled  
8 (indiscernible) interoperability collaboration yard, or  
9 Charge Yard for short. Charge yard provides funding for  
10 the development of a physical laboratory to conduct end-to-  
11 end interoperability and conformance testing for the  
12 electric vehicle charging ecosystem.

13 Importantly, the lab will help accelerate the  
14 development of charging standards and subsequent  
15 certification procedures, as well as next generation  
16 charging features like bidirectional charging. And last  
17 year, I wanted to note that the recipient would be, we will  
18 develop an operational model that will allow the lab to  
19 sustain operations after five years in CEC funding for this  
20 project.

21 Next slide, please.

22 So late last year, we announced a \$4 million  
23 award to California Energy Power and Innovation  
24 Collaborative, or that's Cal EPIC for short. The project  
25 site is already operational as a Rivian technician training

1 site located nearby in Sacramento's Depot Park. And to  
2 support operations and testing, Cal EPIC has partnered with  
3 Charging Interface Initiative North America, or CharIN, and  
4 the Korea Electrotechnology Research Institute, KERI, who  
5 operates a conformance test lab (indiscernible).

6 And last on this slide, I want to mention that a  
7 total of five events would be held annually at the  
8 facility, encompassing three interoperability testivals and  
9 two non-test events, like workshops and discussions and  
10 conferences. The sub-recipient, CharIN, is experienced  
11 with hosting these types of industry events, which includes  
12 the CEC-funded VOLT Symposium that was hosted back in May  
13 2023. And the idea with these events is to convene  
14 stakeholders from across the industry to share learnings,  
15 foster collaborations, and demonstrate technical findings.

16 Next slide.

17 And for the benefit to Californians, Chare Yard  
18 would benefit Californians by advancing CEC's goals of a  
19 reliable charging experience and plug-and-charge  
20 capability, ultimately improving the overall driver  
21 experience. And how this is done as an industry  
22 collaborative interoperability testing space, Charge Yard  
23 allows for a rotating variety of different car  
24 manufacturers and charging networks to test their products  
25 together seamless -- to ensure that their hardware and

1 software carry and communicate seamlessly.

2 In addition to interop testing, the project will  
3 advance charging standards. In its first year of  
4 operations, staff at Charge Yard will be tasked with  
5 developing test cases for charging communication standards  
6 that enable plug-and-charge and charging network roaming.  
7 Moreover, the lab will be able to provide conformance  
8 testing certification for plug-and-charge standards, which  
9 is currently a nascent market in California.

10 All in all, the testing and certification  
11 capabilities of Charge Yard will help the CEC advance its  
12 goals towards a seamless and reliable charging experience,  
13 which is a significant barrier to EV adoption in the state  
14 of California.

15 And next slide, please, so this is the last  
16 slide.

17 Today, staff is seeking your approval of this \$4  
18 million grant agreement, as well as adoption of our  
19 determination that these actions are exempt from CEQA.

20 I'd like to thank staff at FTD for making this  
21 solicitation and grant agreement possible. Happy to answer  
22 any questions. And we have comments from the grant  
23 recipients themselves today as well.

24 CHAIR HOCHSCHILD: Thank you.

25 With that, let's go to public comment on Item 8.

1 MR. YOUNG: Thank you.

2 The Commission now welcomes public comment on  
3 Item 8. To notify us that you want to make comment on this  
4 item and you're in the back of the room -- I'm sorry, and  
5 you're in the room, please use the QR code posted in the  
6 back or visit the Public Advisor table in the back of the  
7 room. If you are on Zoom, please click on the raise-hand  
8 feature on your screen. And if you're joining us by phone,  
9 please press star nine to raise your hand.

10 I'd like to welcome Orville Thomas at this time.  
11 Please approach the podium, state and spell your name for  
12 the record and welcome your comment.

13 MR. THOMAS: Orville Thomas, O-R-V-I-L-L-E, last  
14 name Thomas, T-H-O-M-A-S, CEO of Cal EPIC.

15 I want to thank the Chair, the Commissioners,  
16 Taylor and other staff for this process. It has been great  
17 to work with partners that are respected internationally,  
18 like CharIN and KERI, to bring something of this nature to  
19 California.

20 Obviously, we are very excited about the recent  
21 news of the EV adoption goals and numbers for Californians,  
22 but we do see a reliability issue when it comes to  
23 chargers. We hope that the Capital Charge Yard will help  
24 the state and stakeholders create new technology and new  
25 standards that make everyone's EV charging experience

1 worthwhile and reliable.

2           Once again, just thank you to everyone involved  
3 with the process, to the Commissioners. We look forward to  
4 getting this up and running this year and having you all  
5 out for the groundbreaking -- or the ribbon cutting.

6           CHAIR HOCHSCHILD: Great. Thank you, Orville.

7           MR. YOUNG: Thank you, Chair. That concludes  
8 public comment for this item.

9           CHAIR HOCHSCHILD: Okay. I had a question, but  
10 maybe I'll -- Orville, don't go too far, at any rate.

11           But I'll go to Commissioner Skinner first.

12           COMMISSIONER SKINNER: Thank you, Chair.

13           And I want to thank Taylor for the presentation  
14 and, of course, the FTD staff who worked on this project,  
15 and also Jeffrey Liu, who's an FTD staff but is currently  
16 on rotation as one of my advisors, who is one of the people  
17 that conceived of this.

18           I think most people are aware that we really,  
19 that we, the state and the Commission, are very hopeful  
20 that all of our EVs and our charging apparatus will move to  
21 plug-and-charge, which is a much more convenient form of  
22 charging. And one of the great features of Charge Yard is  
23 that ability where players across the industry can come and  
24 test these different chargers and the vehicles with their  
25 interoperability, which is essential if we're going to move

1 to plug-and-charge. And of course, there's other aspects  
2 of what the Charge Yard lab can provide that will also just  
3 help us advance all of our goals.

4 And I had the pleasure of getting to tour Cal  
5 EPIC's location where Charge Yard is going to be located.  
6 Thank you, Orville, for arranging that. And I saw  
7 firsthand, in addition to Charge Yard, there is a  
8 technician training program there that -- where the  
9 technicians are being trained to be the service techs for  
10 not only EVs but potentially chargers too. And I met one  
11 of the -- well, I met many, but I was particularly  
12 impressed with one particular woman trainee who expressed  
13 her enthusiasm for working to become a full-time service  
14 tech. And they were working on Rivian vehicles at the  
15 time.

16 And, yeah, I think it's just a great, great  
17 program and really appreciate staff's work on it and,  
18 Orville, your -- Cal EPIC's good effort in this.

19 CHAIR HOCHSCHILD: Yeah, I just want to follow up  
20 with one question, which is obviously one of the big steps  
21 forward in the charging space over the last year or two has  
22 been the movement from three standards, CHAdeMO, CCS, and  
23 NACS to align on a single standard going forward. I think  
24 about, you know, how much more difficult our life would be  
25 if household outlets had, you know, multiple different

1 prong types everywhere you go. Clearly, it's necessary to  
2 mature and align.

3           What are some examples of the next phase of  
4 improvements you're most excited about that could be the  
5 fruit borne by this project?

6           MR. THOMAS: Yeah, I think Commissioner Skinner  
7 touched on something, plug-and-charge. And I think as we  
8 start getting into this NACS and CCS world, given how many  
9 CCS-adapted vehicles are out there, we want to make sure  
10 that we're bringing kind of the price of maintenance down  
11 and a universality in how to maintain those chargers that  
12 are more of the version 1.0 that have already been funded  
13 and installed.

14           And so what we've done also is partner with  
15 ChargerHelp and SmarterHelp to take their program that they  
16 originated in Los Angeles and have gone to have national  
17 certifications and bring that to Northern California too.

18           So we are very excited about V2G, Commissioner  
19 Skinner, something that we've worked on for years, working  
20 with utilities like SMUD, PG&E, Southern California Edison,  
21 and others, thinking about how chargers can also serve as  
22 distributed energy resource tools and aids with battery  
23 backup. And then also how in the event that the grid is  
24 not ready to support fleet electrification, we can work  
25 with microgrid providers to do solar or battery backup or

1 have opportunities to utilize different types of gases to  
2 produce electricity for fleets that are looking to have  
3 transportation electrification.

4 And then we also are very keen and watching  
5 closely some of the things that are going on nationally  
6 around wireless charging and use cases that might be for  
7 idling at ports or other circumstances.

8 CHAIR HOCHSCHILD: Great, really helpful.

9 Commissioner McAllister?

10 COMMISSIONER MCALLISTER: Yeah, I really love  
11 this project, and kudos to Commissioner Skinner for leading  
12 this and getting us to where we are and all the staff  
13 involved. Really appreciate the presentation.

14 One question. You know, we talk about  
15 bidirectionality and, you know, load modulation, load  
16 flexibility as -- I mean, we know that this is a category  
17 of supply really that, you know, aggregated load modulation  
18 that reaches across transportation, buildings, industry.  
19 You know, we've had some recent successes with behind-the-  
20 meter batteries being aggregated and playing on the grid in  
21 significant numbers that, you know, actually do move the  
22 needle up to CAISO, for example, you know, multiple  
23 hundreds of megawatts.

24 I'm wondering just sort of how you see this  
25 effort in that broader landscape. So transportation is

1 sort of growing, you know, the electrification piece of the  
2 pie more than some of those other areas, but it's only a  
3 matter of time until we have, you know, all these sectors  
4 playing their role. And so I just wonder how you see Cal  
5 EPIC fitting into that broader landscape and coordinating  
6 across sectors, like say with interoperability standards  
7 with buildings and appliances?

8 MR. THOMAS: Yeah, and that's where we're really  
9 excited about some of our board members like SMUD and  
10 Southern California Edison being great pilot project  
11 partners and use cases to direct where we want to see some  
12 of this research go. It's great that we have known  
13 individual organizations like CharIN and KERI that are  
14 doing this work on a global level and that have been doing  
15 either testivals or research facilities for decades -- or  
16 not decades, for years.

17 And so we really think that this is an  
18 opportunity to start having California lead on what that  
19 V2X is going to look like, whether that is going to be  
20 buildings and allowing the grid to operate a little more  
21 efficiency and flexibly. How do we incorporate large  
22 fleets, especially school buses and those that have started  
23 to, you know, transition to Class 8 vehicles, and then  
24 making sure that that bidirectionality is accompanied with  
25 more research on next generation batteries that will be

1 able to hold their storage a little longer and provide then  
2 that grid flexibility and resiliency.

3 COMMISSIONER MCALLISTER: Great. I really  
4 appreciate it. And as you move forward, I'd really  
5 appreciate just a periodic update about that  
6 interoperability question. Because I feel like, you know,  
7 we are a standards-making body at the Energy Commission and  
8 we are looking at creating some high level interoperability  
9 standards that do cover EV chargers, you know, residential  
10 say, or, you know, we're still defining the scope but --  
11 and doing the same for different appliances, thermostats  
12 and the like.

13 So want to just make sure that we're all running  
14 in the same direction and sort of having -- you know, don't  
15 want to, you know, be the hammer to, you know, assume that  
16 regulation is needed here, but do want to explore whether  
17 we can usefully ensure interoperability so that we do get  
18 that grid benefit that we're all looking for at an  
19 aggregated level. So thanks.

20 MR. THOMAS: And that's part of our excitement  
21 about being able to have this in Sacramento is the  
22 proximity to regulatory staff and stakeholders and those  
23 that are in the legislature so that we can make sure that  
24 we are doing the appropriate amount of regulations and  
25 legislation and being able to educate as much as possible.

1 COMMISSIONER MCALLISTER: Yeah. Thanks.

2 CHAIR HOCHSCHILD: With that, I would welcome a  
3 motion on Item 8 from Commissioner Skinner.

4 COMMISSIONER SKINNER: I move the item.

5 CHAIR HOCHSCHILD: Is there a second from  
6 Commissioner McAllister?

7 COMMISSIONER MCALLISTER: Second.

8 CHAIR HOCHSCHILD: All in favor, say aye.  
9 Commissioner Skinner?

10 COMMISSIONER SKINNER: Aye.

11 CHAIR HOCHSCHILD: Commissioner McAllister?

12 COMMISSIONER MCALLISTER: Aye.

13 CHAIR HOCHSCHILD: And I vote aye as well. Item  
14 8 passes three to zero. Thank you. Congratulations.

15 MR. THOMAS: Thank you.

16 CHAIR HOCHSCHILD: We'll turn next to Item 9,  
17 Food Production Investment Program.

18 MS. SWEENEY: Hello, Chair and Commissioners. My  
19 name is Claire Sweeney. I'm an Energy Commission  
20 Specialist with the Food Production Investment Program in  
21 the Energy Research and Development Division. Today, I am  
22 presenting three proposed awards resulting from the Food  
23 Production Investment Program 2025 solicitation.

24 Next slide.

25 California leads the nation in food and beverage

1 manufacturing with over 6,500 facilities. The industry  
2 contributes \$123 billion annually directly and indirectly  
3 to California's economy and spends an estimated \$1.4  
4 billion annually in energy costs.

5 Next slide.

6 To date, the Food Production Investment Program  
7 has awarded approximately \$131 million to 59 projects  
8 across six categories. The projected emissions reductions  
9 from these projects is about 173,000 metric tons of CO2  
10 equivalent per year.

11 Next slide.

12 The purpose of this solicitation is to fund the  
13 deployment and demonstration of advanced energy efficiency,  
14 decarbonization, renewable energy, and load reduction  
15 technologies at food processing and supporting facilities  
16 in California, which enables food processors to demonstrate  
17 the reliability, scalability, and benefits of these  
18 technologies. The available funding for this solicitation  
19 is \$10.5 million and projects are required to provide 25  
20 percent match funding. Eligible awards range from \$1  
21 million to \$2.5 million, and six projects were recommended  
22 for awards. Today, I will be presenting three projects to  
23 you and three will be brought forward to a future business  
24 meeting.

25 Next slide.

1           These projects will provide a variety of  
2 benefits, including reducing greenhouse gas emissions,  
3 improving energy efficiency, increasing load flexibility  
4 capacity, and improving air quality in under-resourced  
5 communities. Two of the three projects I'm presenting  
6 today are located in under-resourced communities.

7           Next slide, please.

8           So the first project is with Gallo Global  
9 Nutrition who requested a \$2.3 million grant to replace two  
10 existing refrigeration systems with ultra-low global  
11 warming potential, or GWP, ammonia systems equipped with  
12 advanced controls, variable frequency drives, heat  
13 recovery, and floating head pressure technology at their  
14 protein plant in Atwater. The project is expected to  
15 reduce GHG emissions by 550 metric tons of CO2 equivalent  
16 per year, electricity use by 370,000 kilowatt hours per  
17 year, and 65,000 therms per year from fossil gas. The  
18 project will decommission and remove 2,500 pounds of high  
19 GWP refrigerants from the facility.

20          Next slide, please.

21          The second project is with Harvest Food Products  
22 who requested a \$2.5 million grant to install a  
23 transcritical CO2 refrigeration system at their frozen egg  
24 roll facility in Hayward. The new system will include  
25 variable frequency drives, advanced controls, an adiabatic

1 gas cooler, and a heat recovery system. The project  
2 expects to reduce GHG emissions by 1,000 metric tons of CO2  
3 equivalent per year, electricity use by 500,000 kilowatt  
4 hours per year, and 5,500 therms per year from fossil gas.  
5 This project will decommission and remove 8,500 pounds of  
6 high GWP refrigerant from the facility.

7 Next slide, please.

8 The last project is with FC Tracy Holdings who  
9 requested a grant of about \$1 million to install a  
10 microgrid with an advanced energy management system that  
11 tracks, forecasts, and optimizes site energy usage at their  
12 post-harvest facility in Tracy. Once operational, the  
13 system is expected to reduce GHG emissions by 350 metric  
14 tons of carbon dioxide equivalent per year, grid  
15 electricity usage by 1.6 million kilowatt hours per year,  
16 and peak load by 500 kilowatts.

17 Next slide.

18 Staff recommends approving the three Food  
19 Production Investment Program 2025 project grants and  
20 adopting staff's findings that these projects are exempt  
21 from CEQA. Staff is available to answer any questions.

22 Thank you.

23 CHAIR HOCHSCHILD: Well, now you've made us all  
24 hungry when I saw the dumplings picture there.  
25 Congratulations on all this terrific work.

1           Let's go to public comment on Item 9.

2           MR. YOUNG: Thank you.

3           The Commission now welcomes public comments on  
4 Item 9. To notify us that you want to make a comment on  
5 this item and if you're in the room, please use the QR code  
6 posted in the back or visit the Public Advisor table. If  
7 you're on Zoom, please click the raise-hand feature on your  
8 screen. And if you're joining by phone, please press star  
9 nine to raise your hand.

10           Yeah, I'm not seeing any commenters in the room  
11 or online, so back to you.

12           CHAIR HOCHSCHILD: Okay. Yeah, so these all look  
13 terrific. You know, one question I wanted to ask, I know  
14 in the past, we like worked with Sun-Maid Raisins on trying  
15 to electrify their gas dryers. And that actually didn't --  
16 wasn't a project successful at that time. But I know it's  
17 been a moving part.

18           Have we -- are there other examples that we're  
19 seeing in this space around the electrification technology  
20 being able to supplant gas for drying of, you know, grapes  
21 and that kind of thing? This was early in the -- earlier  
22 in the course of the development of this program, that  
23 project was. I don't know if you're familiar with -- yeah.

24           MS. SWEENEY: We don't have any projects like  
25 that in this round.

1 CHAIR HOCHSCHILD: Yeah.

2 MS. SWEENEY: But I think we've had a couple of  
3 projects that were similar to that.

4 CHAIR HOCHSCHILD: Yeah. Yeah. Okay. And then  
5 what is the way in which, you know, when there's a  
6 successful project, you got a couple of interesting types  
7 of projects here, that, you know, results are shared out  
8 within the food processing industry? How, you know, how  
9 quickly does word travel in terms of being able to  
10 replicate these kind of innovations? And what's the  
11 mechanism for that?

12 MS. SWEENEY: Okay, so when the projects are  
13 completed, they will do reports we post on the CCC website.  
14 And then the projects kind of vary in how much they share  
15 internally or conferences, but they do report to us that  
16 they share those things. And a lot of times the  
17 subcontractors that the projects work with will work with  
18 other facilities and share those results with the other  
19 facilities (indiscernible).

20 CHAIR HOCHSCHILD: Okay. Well, one thing I just  
21 would maybe float for consideration, in the past with some  
22 of these grants, we've done joint visits or virtual visits  
23 with Secretary Ross from Agriculture. So we might look  
24 into doing that once there's something to see that's been  
25 installed. And, you know, it would be good to engage with

1 her again. Yeah, we can follow up. Yeah, yeah, yeah,  
2 that's right. Yeah. Okay.

3 Any other comments? Commissioner McAllister?

4 COMMISSIONER MCALLISTER: I'm just super  
5 supportive. I mean, FPIP is really a model program and  
6 just want to do everything we can to get the word out as  
7 the Chair is kind of, you know, implying, so really support  
8 these three.

9 And could you maybe give us a little bit of a  
10 status report on the program overall and how sort of what  
11 we can expect going forward? I know that there are limited  
12 funds and I want to just sort of get the lay of the land  
13 broadly.

14 MS. SWEENEY: So the funds we're using currently  
15 are sort of from -- leftover from previous rounds. And we  
16 don't currently have future funding coming in.

17 MR. GHANDI: Well, Commissioners, my name is  
18 Cyrus Ghandi. I supervise the Food Production Investment  
19 Fund.

20 I just want to go back to your previous question.  
21 You asked whether there are any examples of electrification  
22 projects. We do have two examples. We have two coffee  
23 roasting electrification projects. They're both located in  
24 Oakland, California. And with, you know, tech transfer  
25 activities, it is part of each agreement. This is a

1 required part of each agreement. It's built into the  
2 activities that -- you know, tech transfer is something  
3 that is built into the required activities throughout the  
4 project. And they also will publish their -- you know, the  
5 work they've done in that space in their final report,  
6 which is the final product. And it's a public-facing  
7 product that is going to be posted on the CC website.

8 COMMISSIONER MCALLISTER: Great. Thanks, Cyrus  
9 and Claire. I really appreciate the briefings along the  
10 way and for this item as well, so thanks for the great  
11 work. I support this item. Appreciate it.

12 MR. GHANDI: Yeah, and on the funding, the  
13 funding questions, yes, so we've received funding in the  
14 past. We've spent \$131.2 overall so far. And we have  
15 \$10.5 remaining that we're spending on this solicitation.  
16 And we don't have any prospect of any future funding coming  
17 in, anything solid yet. But we're hoping for more funding  
18 because this is an oversubscribed program with a lot of  
19 interest from the food processing sector.

20 COMMISSIONER MCALLISTER: Yeah. It's such a key  
21 part of our economy and all the success. And Secretary  
22 Ross has been a huge booster and just a really great  
23 partner in all this. So I really appreciate it.

24 Yeah, back to you, Chair.

25 CHAIR HOCHSCHILD: Unless there's other comments,

1 I would welcome a motion from Commissioner McAllister on  
2 Item 9.

3 COMMISSIONER MCALLISTER: Move Item 9.

4 CHAIR HOCHSCHILD: Is there a second from  
5 Commissioner Skinner?

6 COMMISSIONER SKINNER: Second.

7 CHAIR HOCHSCHILD: All in favor, say aye.  
8 Commissioner McAllister?

9 COMMISSIONER MCALLISTER: Aye.

10 CHAIR HOCHSCHILD: Commissioner Skinner?

11 COMMISSIONER SKINNER: Aye.

12 CHAIR HOCHSCHILD: And I vote aye as well. Item  
13 9 passes three to zero.

14 We'll turn next to Item 10, Lead Commissioner and  
15 Presiding Member Reports.

16 Why don't we start with you, Commissioner?

17 COMMISSIONER SKINNER: Thanks so much. A couple  
18 of things.

19 I participated in a webinar that the Center for  
20 Law, Energy, & the Environment at Berkeley Law did on  
21 different policies and programs that could help us increase  
22 the demand for medium-duty and heavy-duty ZEV vehicles.  
23 And the webinar was based on a report that CLEE (phonetic),  
24 that's the name of the organization, just recently  
25 released, which is titled Driving Demand Solutions to

1 Increase the Market for Heavy-Duty Zero-Mission Vehicles.  
2 And I also participated in some seminars prior to it that  
3 helped inform that report.

4 But I think clearly we, while we are seeing, we  
5 just experienced the first quarter where there were no  
6 federal tax incentives for our EVs, and yet California saw  
7 some still continued interest in EV sales. We went to 19  
8 percent, which prior to incentives, in other words, that  
9 percent is higher than when -- what our sales used to be  
10 before incentives. So, you know, hopefully our EV market  
11 will stay healthy. And, of course, with the governor's  
12 proposed budget ask for providing a California specific  
13 incentive for ZEVs, we look forward to that.

14 However, in the heavy-duty market, while we could  
15 have a real game changer with the Tesla semis that Coca-  
16 Cola is now utilizing but aren't fully in the market yet,  
17 we don't see the growth in heavy-duty that, of course, we  
18 are greatly interested in, because our heavy-duty vehicles  
19 are, as primarily using diesel, are really some of our  
20 major contributors into California's air quality problems.  
21 So we really want to see that transition in the heavy-duty  
22 market.

23 So please report. I just, for any of us who are  
24 interested in looking at different levers, policy and  
25 program levers that could help stimulate that market, I

1 really recommend that report.

2           And I already mentioned about our ZEV sales in  
3 this last quarter, but the greatest news about that, and  
4 our Chair mentioned it in his opening comments, is  
5 California has now reached 2.5 million zero-emission  
6 vehicles, EVs, on our roads, which is incredible. And of  
7 course, we thank the Commission, all of us for our help in  
8 achieving that.

9           And just looking forward to 2026, some of the  
10 Fuels and Transportation Division's goals include releasing  
11 the third assessment of how many EV chargers we're going to  
12 need to support our ZEV goals. And in looking at the  
13 different habits of EV drivers, where EV drivers prefer to  
14 charge, and the growth in DC fast chargers, we are likely  
15 to see some very large changes in the type of projection  
16 we're going to make in that assessment compared to previous  
17 years.

18           We also are in the midst of doing our, what's  
19 called the SB 1000 Report that assesses how our  
20 infrastructure, our EV infrastructure deployment so far has  
21 been proportionately -- you know, where it's placed and  
22 whether it's disproportionately deployed, so do all  
23 Californians have good access or not?

24           And then finally, one of the other goals, and  
25 obviously FTD has additional goals, but the ones I want to

1 highlight today is that we will be targeting some of our  
2 funding opportunities towards multifamily housing. We've  
3 always supported, we've always had grant solicitations that  
4 will support that, but given drivers' interest in having  
5 charging at or near home, and given how many Californians  
6 do live in multifamily properties, we really want to target  
7 an expansion of charging at those facilities.

8           So those are some of the goals of FTDs that I  
9 look forward to working on in this 2026 year.

10           CHAIR HOCHSCHILD: Thank you, Commissioner  
11 Skinner.

12           Commissioner McAllister?

13           COMMISSIONER MCALLISTER: Great. I want to  
14 correct an egregious mistake I made in the item about the  
15 travel guidelines. Sierra Graves has been amazing, and I  
16 should have thanked her then. I'm thanking her now. She,  
17 our travel liaison, just ensuring that the tribes know what  
18 we're doing when workshops happen and just building  
19 relationships with them, just leaning into that has been  
20 vital for all of our travel work, but particularly  
21 development of the guidelines relevant for today. So  
22 thanks to you, Sierra. I appreciate you.

23           And let's see, I want to point out, today and  
24 tomorrow there's a building decarbonization workshop  
25 happening at the PUC. I will be there in-person tomorrow

1 in San Francisco, but they're doing really a packed agenda  
2 today and tomorrow. I just want to thank Commissioner  
3 Houck for her leadership there, and also her partnership  
4 with Commissioner Douglas. I think both of them are really  
5 focused on trying to unify the gas and electricity  
6 conversations around buildings. And so that should produce  
7 some good outcomes, a lot of good perspectives from all  
8 scales, from local government, all the way up to global  
9 efforts. And so just really appreciate their convening and  
10 looking forward to being there with them tomorrow.

11 And along those lines, my staff is, in  
12 coordination with the Chair's staff, trying to kind of  
13 identify a time, likely sometime this summer, maybe June,  
14 to do a redux of our electrification summit, probably a  
15 one-day event, a little bit more targeted than we have in  
16 the past, but don't want to let the momentum flag on the  
17 building electrification or that just electrification  
18 conversation generally, obviously a lot of focus on heat  
19 pumps, but there is a lot more to electrification than just  
20 heat pumps. So I want to just say, stay tuned for that.  
21 When we figure out the particulars, all of you will be the  
22 first to know.

23 And also want to note that the Building  
24 Electrification Action Plan that the Efficiency Division  
25 staff has been working on for a long time now, it's been

1 through one cycle review, comments in on it, and then also  
2 revising for a final that will be going out into the world  
3 in the coming couple of months, probably. But that's a  
4 real foundational document. I want to thank Owen Howlett  
5 for pushing on that, and Scott Blanc, and also Ram  
6 Narayanamurthy, who's now with us at the Energy Commission,  
7 I'm lucky to have him as well. So look out for the  
8 Building Energy Action Plan.

9           And then also, the Building Performance Standards  
10 Report that the legislature asked us to do also will be  
11 going out into the public sometime soon. And that's really  
12 a report bill that, likely, that the legislature will look  
13 at and determine whether any of them -- the bill that we're  
14 doing it for is from Senator Becker. And, you know, we'll  
15 see if anybody wants to pick that up and propose a building  
16 performance standards program for the state going forward.  
17 So that's a promising policy initiative that's happening in  
18 local governments and a few states across the nation. And  
19 we'll see if it sort of is a fit for pivoting California's  
20 larger buildings, about 50,000 square feet to  
21 electrification. And so I look forward to that  
22 conversation during the legislative session, and obviously  
23 with leadership of the governor's office.

24           I think, yeah, I talked a little bit about my  
25 electrification journey, sort of putting a bow on it over

1 the last few months. And I was really -- you know, I've  
2 had a LEAF, a Nissan LEAF for a number of years now, you  
3 know, a 2016 Nissan LEAF, and the battery is -- you know,  
4 the autonomy is like 70 or 80 miles. So it's really an  
5 around town car for my daughter. It was nice because she  
6 couldn't get too far. But I just recently bought, you  
7 know, a sort of full-fledged EV with, you know, 300 miles  
8 of autonomy and it's a real game changer. It's quite  
9 remarkable just how I feel zero range anxiety and have  
10 taken some, you know, significant trips in it.

11           And you don't really know until you experience.  
12 And I know both of you have already had EVs for a while,  
13 but they've come so far so fast. And just the componentry  
14 that full-on electrification allows, the connectivity and  
15 just all the modern kind of amenities, it's quite  
16 remarkable. And the price was not -- I mean, it really was  
17 very cost competitive, even in initial costs.

18           And so anyway, I just, not that I was surprised  
19 by any of this, but when you sort of live it, it does make  
20 you settle into the reality and just super positive. So I  
21 just wanted to kind of make a plug for that.

22           And I think I'll stop there.

23           CHAIR HOCHSCHILD: Thank you, Commissioner.

24           Well, I think this is our first Commission  
25 meeting of the new year. And I certainly had a chance to

1 recharge my batteries over the winter break and they came  
2 back refreshed.

3 I think the only thing I would highlight, last  
4 week was the State of the State speech from the governor  
5 and the number of key energy milestones that he pointed to,  
6 just how far we've come, more than two thirds of our grid  
7 being powered by clean energy, getting to 100 percent clean  
8 energy, the majority of the days last year for a period of  
9 the day, all the EV charging and EV penetration goals. I  
10 mean, that had just straight lines to the work that we're  
11 doing here at CEC. It felt really good.

12 And, you know, increasingly it's getting a lot of  
13 attention and the governor was -- you know, he's right now  
14 as we speak in Davos with world leaders. It's, you know,  
15 really unusual for state governors to get invited to this  
16 international leadership forum, but it's really putting our  
17 agency and our sister agencies on the global stage at a  
18 time when it's more important than ever. So feel super  
19 grateful for that.

20 I think I will leave it there and then we'll go  
21 next to Executive Director's Report, Item 11.

22 MR. BOHAN: Thank you, Commissioners. No report  
23 today.

24 CHAIR HOCHSCHILD: Public Advisor's Report, Item  
25 12.

1 MR. YOUNG: No report at this time. Thank you.

2 CHAIR HOCHSCHILD: Okay, Chief Counsel's Report.

3 MR. RANCHOD: No report today, Chair, but Chief  
4 Counsel's Office does recommend that the Commission  
5 adjourned to a closed session. Pursuant to Government Code  
6 section 11126(e), the CEC may adjourn to a closed session  
7 with its legal counsel to discuss pending litigation. That  
8 includes the matters listed in Item 13B of the agenda, and  
9 to discuss whether to initiate litigation in order to  
10 discuss a significant exposure to litigation against the  
11 CEC.

12 CHAIR HOCHSCHILD: Okay, would you guess that  
13 closed session is likely to last, what would you say, 30  
14 minutes, 20, about 30?

15 MR. RANCHOD: Approximately 30 minutes.

16 CHAIR HOCHSCHILD: Okay, let me propose the  
17 following. I have to now do a call at 12L30, but it's only  
18 15 minutes. So why don't we convene in my office at 12:45  
19 and then we'll come back down after that's done around 1:15  
20 or so. Sound good? Okay. Thanks everybody.

21 (Off the record at 12:21 p.m.)

22 (On the record at 1:25 p.m.)

23 CHAIR HOCHSCHILD: We're back from closed  
24 session. Nothing to report. And we are adjourned. Thanks  
25 everybody.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

(The meeting adjourned at 1:25 p.m.)

## CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 25th day of February, 2026.



---

MARTHA L. NELSON, CERT\*\*367

## CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



---

MARTHA L. NELSON, CERT\*\*367

February 25, 2026