

**DOCKETED**

<b>Docket Number:</b>	25-OPT-02
<b>Project Title:</b>	Prairie Song Reliability Project
<b>TN #:</b>	270089
<b>Document Title:</b>	Transcript from Informational and Environmental Scoping Meeting Held on February 24, 2026
<b>Description:</b>	Transcript from Informational and Environmental Scoping Meeting Held on February 24, 2026
<b>Filer:</b>	Marichka Haws
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	5/19/2026 4:20:09 PM
<b>Docketed Date:</b>	5/19/2026

CALIFORNIA ENERGY COMMISSION

In the matter of:

Prairie Song Reliability Report )  
Opt-In Application for ) Docket No. 25-OPT-02  
Certification )  
\_\_\_\_\_)

INFORMATIONAL AND ENVIRONMENTAL SCOPING MEETING FOR  
THE PROPOSED PRAIRIE SONG RELIABILITY PROJECT

HYBRID: IN-PERSON AND REMOTE

ACTON AGUA DULCE LIBRARY  
33792 CROWN VALLEY ROAD  
ACTON, CA 93510

TUESDAY, FEBRUARY 24, 2026

3:00 P.M. - 8:00 P.M.

Reported by:

Elise Hicks

APPEARANCES

COMMISSIONER

Noemi Gallardo, Lead Commissioner

COMMISSIONER ADVISOR

Caroline Grey, Senior Advisor to Chair David Hochschild

CEC STAFF

Drew Bohan, Executive Director

Kaycee Chang, CEQA Project Management Unit Supervisor

Lisa Worrall, Project Manager

Dr. Alvin Greenberg, Risk Science Associates, consultant  
to CEC

Alex Mayer

Barbara Borkowski

Hilarie Anderson

PUBLIC ADVISOR

Fabi Lao, Equity, Outreach, and Engagement Lead

APPLICANT

Garrett Lehman, Director of Development for Coval  
Infrastructure, Coval Energy

Matt Quinn, Fire Safety Consultant, Fire & Risk Alliance

APPEARANCES

PUBLIC COMMENT

Richard Stillwagon, L.A. County Fire Marshal

Carlos Torres, Women in Non-Traditional Employment Roles  
(WINTER)

June Perkins, Acton Town Council Member, Agua Dulce Acton  
Senior Citizen's Club Member, Friends of Acton Library  
member

Drew Mercy, Executive Director, Economic Development and  
Growth Enterprise

Katherine Sky Tucker, Acton Resident

Ruthie Brock, Acton Takes Action

Stephen Brock

Ken Perkins

Joe Sullivan, International Brotherhood of Electrical  
Workers (IBEW) Local 11, and the National Electrical  
Contractors Association of Greater Los Angeles

Jeff Bree, Iron Workers 433

Jonah Henry, Volunteer, Sunrise Movement Los Angeles

Russ Fawkes

Wayne Wilson, Resident

Dawn Deans

Roland Gutierrez, Sprinkler Fitters U.A. Local 709

Kelly Teno

Laney Clevenger-White, Acton Resident

APPEARANCES

PUBLIC COMMENT (cont'd)

Doug Bayer, Resident

Susan Bayer, Resident

Patricia Akkad

Myllex Guadamuz, Apprenticeship Readiness Fund

Tommy Faavae, IBEW Local 11

Larry Sanderson

Mylessa Nickelson

Jacqueline Ayer, Save Our Rural Town

Anne Willlliams

Michael Goodnight

Laura Wilson

Kathy Coughlin

Thomas Coughlin

Melissa De Santis

Aurora Gadbury

Bethany De Santis

Heather La Bella

Ann McKeown

Don Wright

Don Laird, Acton Town Council

APPEARANCES

PUBLIC COMMENT (cont'd)

Chuck Mercier

Tasia Kieffer, L.A. County Business Federation

Perry Goldberg

Mikayla Gibson, Valley Industry and Commerce Association

Jose Centeno, Association of Rural Town Councils

Enrique Huerta, Climate Resolve

Karen Stueve

John Vidic, Acton Resident

Quinton Garrard, Los Angeles Alliance for a New Economy

Tom Smith

Mark Kulla

Monica Kulla

Joan Millar

Tammie Necessary

Nancy Crosby

David Devereux

Nina Chacon, Resident of Acton

Mark Stocks

Vivian Phillips

Dianna Spiegel

APPEARANCES

PUBLIC COMMENT (cont'd)

Steve Kaplan

Kathy MacLaren

INDEX

	<u>PAGE</u>
1. Welcome and Introductions	8
2. CEC staff presentation on the Opt-In Certification Program	19
3. Applicant presentation on the proposed project	23
4. CEC staff presentation on the scope and content of the Staff Assessment and environmental analysis	48
5. CEC Office of the Public Advisor, Energy Equity, and Tribal Affairs presentation on public participation and California Native American tribal consultation opportunities	65
6. Government Comment: California Native American tribes, Elected Officials, and Government Agencies	69
7. Public Comments	82
8. Closing Remarks	179
Adjournment	181



1 by clicking on the live transcript icon and then choosing  
2 either show subtitle or view full transcript. The closed  
3 captioning service can be stopped by exiting out of the  
4 live transcript or selecting the hide subtitle icon. We  
5 also have enabled Spanish interpretation on Zoom.

6 For those participating in-person, please be  
7 mindful of speaking slowly and clearly into the microphone  
8 for those participating online to hear, our Spanish  
9 interpreters, and our court reporter.

10 The Restrooms are located outside of the meeting  
11 room door around the corner to your left. If you are not  
12 able to find a seat in the room, there is additional  
13 seating in the patio. The applicant has provided coffee,  
14 pastries, and water at the back of the room.

15 And finally, this meeting is being recorded. The  
16 meeting recording will be available on the California  
17 Energy Commission's website.

18 Next slide, please.

19 This slide provides an overview of today's  
20 agenda. We will be sharing information with the public on  
21 our Opt-In Certification Program and process, and the  
22 applicant will be sharing information about the proposed  
23 project. There will be plenty of opportunities for  
24 comments from California Native American tribes, government  
25 agencies, elected officials, and interested parties and

1 members of the public.

2           You may have seen a printout of the agenda and  
3 today's slide presentation, which are available at the back  
4 tables with our Public Advisor's Office.

5           Next slide, please.

6           I just want to take one step back and introduce  
7 the California Energy Commission, or CEC. The CEC is the  
8 state's lead agency on energy planning and policy,  
9 including leading the 100 percent clean energy planning  
10 process. We are committed to promoting a clean,  
11 affordable, and reliable energy supply for all  
12 Californians.

13           Next slide, please.

14           The CEC was created by statute in 1974. We have  
15 a variety of functions and work closely with other energy-  
16 related agencies, like the California Public Utilities  
17 Commission and the California Air Resources Board. Our  
18 primary functions include state energy policy, energy  
19 efficiency and reliability, and clean energy transition,  
20 planning, and infrastructure.

21           Next slide, please.

22           The CEC is led by our five Commissioners. We are  
23 fortunate to have with us today our lead siting  
24 Commissioner, Noemi Gallardo, and Caroline Grey, Senior  
25 Advisor with the Chair David Hochschild's office. Our

1 Executive Director, Drew Bohan, cannot be here in-person  
2 with us today, but he is online.

3 And now I would like to invite Drew, our  
4 Executive Director, Drew Bohan, to make opening remarks.

5 MR. BOHAN: Thank you, Kaycee. Appreciate it.  
6 Drew Bohan here, as Kaycee noted, Executive Director for  
7 the California Energy Commission.

8 I just want to start by thanking Kaycee, our  
9 Project Manager, for helping really be the linchpin of  
10 organizing all this. And Kris Peters, who is our IT  
11 professional who keeps things running smoothly with Zoom.  
12 It's a job that only gets noticed typically when something  
13 goes wrong, but he does a wonderful job keeping us all live  
14 and connected.

15 Thank you all for coming. I see there's about  
16 60-some-odd folks online. I know there's many more in the  
17 room. Apologies that I can't make it in-person. This is  
18 the first Opt-In matter I have missed in-person. I had a  
19 family matter and just returned to California from  
20 Wisconsin earlier today with no sleep, so I'll do my best  
21 here. Anyway, I do plan to come down, though, and visit  
22 the site in-person. I'm disappointed to have missed that  
23 this morning.

24 And I want everybody to know that as the  
25 representative of our staff, we all feel that community

1 input is very important. So we're really glad to see a lot  
2 of people out to share their views. We welcome all  
3 comments, positive comments, negative comments, neutral  
4 comments.

5           And our job as staff is to evaluate the project,  
6 all of its impacts, all of its benefits, and then apply the  
7 law to those facts we've learned about this project. And  
8 ultimately, that results in a recommendation that we make  
9 to the Commission, as the Commission staff, as to whether  
10 we believe that the project meets the requirements of the  
11 law and should be approved or does not and should not be  
12 approved.

13           And we have so far made four recommendations,  
14 three for approval, one for disapproval. And we'll look at  
15 this one closer. This is new to us, and we want to get it  
16 right and learn what we can. So one of the best ways we do  
17 that is to hear from people who live nearby and can tell us  
18 about the features of the community that they think would  
19 be positively or negatively impacted.

20           So with that, I'll just say again, thank you very  
21 much, and look forward to learning more about this project.  
22 And let me hand it back to Kaycee to move on with the  
23 program.

24           MS. CHANG: Thank you, Drew.

25           Next, I would like to invite Commissioner

1 Gallardo.

2 COMMISSIONER GALLARDO: Buenas tardes. Good  
3 afternoon, everyone.

4 I want to let the folks in the back know there's  
5 still some seats in front or folks on the side in case you  
6 do want to sit. And our staff will be reminding people as  
7 well.

8 It's wonderful to be here in Acton. It's my  
9 first time here. It's a beautiful area. I want to start  
10 with some gratitude first to the residents in the  
11 community, both of Acton and Los Angeles County for  
12 welcoming us here. We really appreciate it. We also  
13 appreciate you being here in the room and also all the  
14 folks on Zoom. As our Executive Director mentioned, there  
15 are about 60 people on Zoom, and the number continues  
16 growing.

17 I also wanted to thank the staff of the Agua  
18 Dulce Library for welcoming us into the venue and helping  
19 us set up. It's really important for us to have a venue  
20 where the community feels comfortable and a place where it  
21 is accessible to everyone, so we really are happy to be  
22 here.

23 I also want to thank all of our staff who set up  
24 this public meeting. It takes a lot from the beginning to  
25 getting to today to be able to do this, and so I really

1 want to uplift them for all of their efforts.

2           So as mentioned, my name is Noemi Gallardo. I'm  
3 one of the five Commissioners at the California Energy  
4 Commission. The Commission assigns two Commissioners for  
5 every policy area that is a priority policy area, so  
6 there's a lead commissioner and an associate. I am the  
7 Lead Commissioner on what we call Siting, so that's the  
8 certification and overseeing of eligible power plants, or  
9 permitting for short, as most people say it, and then our  
10 Chair, David Hochschild, is the Associate Commissioner, and  
11 we usually both will come out to the sites. This is the  
12 first time that neither our Executive Director or Chair  
13 were able to make it, but they will -- they both have  
14 indicated that they will be coming to visit.

15           So the Chair and I will be working with staff  
16 throughout their review and analysis of the proposed  
17 Prairie Song Project, and ultimately the five Commissioners  
18 will vote on whether to approve or to deny the project.

19           Right now, we are at the beginning stages of this  
20 proceeding, reviewing the application for this project, and  
21 a little later, you will hear from our staff. They will  
22 walk through some of the potential impacts that they have  
23 identified during their preliminary review of this  
24 application. However, staff has not yet conducted that  
25 really in-depth review and analysis of this project, so

1 there's still a lot of work for all of us to do.

2           Today, as was mentioned, we are here to learn  
3 more about the project and to -- that will help us with  
4 that analysis. Earlier, we did visit the site of the  
5 proposed project, which is just a few miles from here.  
6 These site visits that we do are not required, but we think  
7 it is vital for us to come out and see firsthand what the  
8 site looks like, what the potential impacts could be, the  
9 boundaries, the parameters, and all of the important things  
10 that go along with it.

11           I'd like to thank the Applicant, Coval  
12 Infrastructure, for facilitating that visit and for  
13 engaging with us in this proceeding.

14           I also want to be transparent that I will meet  
15 with the Acton Town Council President, Jeremiah Owens,  
16 tomorrow for another site visit, so we'll hear from  
17 Jeremiah's perspective.

18           Again, today is the most important job for --  
19 the most important job for the Commission is to learn from  
20 the applicant who will be presenting and also from all of  
21 you. So as our Executive Director mentioned, do not  
22 hesitate, don't be shy, please let us know. We appreciate  
23 all the insight and the knowledge that you have about the  
24 area and want to better understand it.

25           And I want to also emphasize that one of the key

1 criterion that the Commissioners apply when voting on a  
2 project is whether we ourselves would be confident in the  
3 safety of the project having it in our own neighborhoods  
4 near our own home. So we do look at that and we do -- we  
5 have heard from the community that's one of the concerns.

6           So the state is in need of building out our clean  
7 energy resources. The state legislature created the Opt-In  
8 process to help bring projects online, so for this very  
9 reason of building out. However, this Opt-In Certification  
10 Program is not a rubber stamp, so it is not guaranteed that  
11 we will approve every application. What we can guarantee  
12 is that we will carefully consider each one, treat each  
13 application as unique, and do a very diligent and  
14 comprehensive job in that independent research and  
15 analysis.

16           So you will hear a little bit more about that  
17 when our staff presents, but also you will hear from our  
18 Public Advisor's Office who will speak about the various  
19 ways that the public can participate, including showing up  
20 at our public meetings that we have.

21           And I want to ask, too, I know there are a lot of  
22 you here who are very passionate about this area where you  
23 live, work, and play, and so we understand that. I just  
24 want to make sure we're very respectful of each other, and  
25 so if someone's speaking, please listen. Let's not talk

1 over them.

2 And also want to remind folks to either turn down  
3 the volume on your cell phones or turn off the cell phones  
4 because that can also be disruptive, and we want to ensure  
5 that everyone can hear what everyone else is saying.

6 So finally, I'd like to point out that this is  
7 the first public meeting about this proposed project that  
8 we're having. We will have at least two more meetings.  
9 One of them will be our business meeting where we vote on  
10 different items, and that will be in about eight months.  
11 And so that's when we will be voting on this project, at  
12 least that's what we anticipate.

13 So I will turn it over now to someone who's here  
14 representing our Chair, David Hochschild.

15 Caroline?

16 MS. GREY: Hi, everyone. As mentioned, my name  
17 is Caroline Grey, and I'm here representing the Chair of  
18 the Energy Commission, David Hochschild, who, as  
19 Commissioner Gallardo mentioned, is the Associate  
20 Commissioner on these matters.

21 And I really just want to emphasize remarks that  
22 Commissioner Gallardo has already made about the burden  
23 that we at the Energy Commission put on citing these  
24 projects, which is that we really want to look at them as  
25 projects that we would feel comfortable living with, next

1 to, and in our own neighborhoods. That is something that  
2 the Chair has been able to share at each of the proceedings  
3 that he's been able to attend in-person. And so that is  
4 one of the things that I'm listening to you all speak about  
5 today, and also to our applicant share some more initial  
6 information.

7 With that, I want to pass it to our Public  
8 Advisor, Ryan Young, who will provide more guidance on how  
9 to share your comments, either here in the room or online  
10 through the Zoom procedure.

11 MS. LAO: Good afternoon. I am not Ryan. I am  
12 filling in for him today. So I am Fabi Lao, Equity,  
13 Outreach, and Engagement Lead with the Office of the Public  
14 Advisor, Energy, Equity, and Tribal Affairs of the Energy  
15 Commission. Today, we will have some presentations, hear  
16 from government representatives, and then have our main  
17 public comment period.

18 I just wanted to mention at the beginning of our  
19 time together that I will be sharing some instructions  
20 later today, and I'll repeat again later. We ask everyone  
21 in the room who would like to make a comment to please turn  
22 in a blue card that you can find in the back in the Public  
23 Advisor's table. And if you represent a government entity,  
24 whether it's local, state, federal, legislature, or  
25 California Native American tribe, please also indicate that

1 on the blue card.

2 And now I'll pass the mic back to Kaycee.

3 MS. CHANG: Thank you, Fabi.

4 Can you move to the next slide, please?

5 So one of the programs, as you've heard, we  
6 implement is the Opt-In Certification Program. The goal of  
7 today's CEC meeting is to provide an opportunity for  
8 interested members of the public, including surrounding  
9 communities, to learn about the proposed project and our  
10 process. Your comments provided today or in writing to our  
11 proposed project docket will be considered for our staff  
12 assessment.

13 I will kick it off by providing an overview of  
14 the Opt-In Certification Program.

15 Next slide, please.

16 Through Assembly Bill 205, the Opt-In  
17 Certification Program provides an optional permitting  
18 pathway and a condensed timeline for the types of energy  
19 facilities listed on the slide and certain transmission  
20 lines associated with these generating and storage  
21 facilities. Prior to the signing of AB 205, the CEC's  
22 permitting authority was limited to thermal power plants  
23 with a generating capacity of at least 50 megawatts. AB  
24 205 expands the types of facilities that can be certified  
25 by the CEC to include energy storage systems of at least

1 200 megawatt hours, like the proposed Prairie Song  
2 Reliability Project.

3           The Opt-In process provides for early tribal  
4 consultation, robust public input, and rigorous  
5 environmental review.

6           The CEC is the lead agency for the California  
7 Environmental Quality Act, or CEQA, and is charged with  
8 preparing the staff assessment, which includes the  
9 appropriate environmental document. In this case, CEC  
10 staff will be preparing a Draft Environmental Impact  
11 Report, or EIR. We will discuss the contents later in the  
12 presentation.

13           Next slide, please.

14           We don't do this alone. We consult with our  
15 state partner agencies, including the California Department  
16 of Fish and Wildlife, the State Water Resources Control  
17 Board, and the applicable Regional Water Quality Control  
18 Board, and the Department of Toxic Substances Control. We  
19 are also coordinating with local agencies, such as Los  
20 Angeles County.

21           Next slide, please.

22           CEC certification or approval of an Opt-In  
23 application requires the CEC find that the construction or  
24 operation of the proposed project will have an overall net  
25 positive economic benefit to the local government that

1 would have had permitting authority over the site and  
2 related facility. With the passage of Senate Bill 254,  
3 there is a rebuttable presumption that the project will  
4 provide an overall net positive economic benefit.

5           The CEC must also find that the applicant has  
6 entered into one or more legally binding and enforceable  
7 agreements with or that benefit a coalition of one or more  
8 community-based organizations. At the stage of application  
9 completion, where we are now with the Prairie Song  
10 Reliability Project, the applicant submitted the required  
11 community benefits plan in its application, which included  
12 a timeline for execution.

13           An actual community benefits agreement is not  
14 necessary for application completion, but the applicant  
15 must provide additional information updating or  
16 supplementing the information in the application no later  
17 than 45 days after an application is deemed complete. On  
18 February 2nd, 2026, the applicant submitted a community  
19 benefits agreement to the docket, which is currently being  
20 reviewed.

21           The CEC must also find that the applicant will  
22 use a skilled and trained workforce and pay construction  
23 workers at least prevailing wages, subject to statutory  
24 enforcement or a project labor agreement.

25           Any significant effects of the project must be

1 avoided or substantially lessened, or the CEC must find --  
2 must adopt a Statement of Overriding Considerations for  
3 significant effects found infeasible to avoid or mitigate.  
4 The list of requirements is not exhaustive and, based on  
5 the project, other requirements may apply.

6 Next slide, please.

7 This slide shows the timeline for our process.  
8 This application is deemed complete on January 30th, 2026,  
9 which started our 270-day schedule. And today we are  
10 hosting the informational and environmental scoping  
11 meeting. We are actively working on the staff assessment,  
12 which includes a Draft Environmental Impact Report, or EIR,  
13 working towards day 150, the day we are to file the  
14 document.

15 We will then host a public meeting on the staff  
16 assessment 30 to 60 days after filing. The updated staff  
17 assessment would be published at least 30 days prior to a  
18 publicly noticed CEC business meeting at which the CEC will  
19 render its decision, and that is to be no later than 270  
20 days after the application is deemed complete or as soon as  
21 practicable thereafter.

22 Next slide, please.

23 We want to mention that our work does not stop at  
24 day 270. If the proposed project is approved by the CEC,  
25 the project then goes to our Compliance, Monitoring and

1 Enforcement Unit who ensures the facilities comply with all  
2 provisions in their associated certification. They also  
3 analyze any proposed changes to the design, operation or  
4 performance. The team performs both formal inspections and  
5 unannounced inspections, reviews monthly and annual  
6 compliance reports, and investigates complaints.

7 Next slide, please.

8 For more information about the Opt-In program,  
9 please visit our webpage. I will now invite the applicant  
10 representative, Garrett Lehmann, for their presentation of  
11 the proposed Prairie Song Reliability Project.

12 COMMISSIONER GALLARDO: And while we wait for  
13 Garrett, this is Commissioner Gallardo, I wanted to let  
14 folks in the back know there's still seats up front here.  
15 If you do want to take a seat, this would be a good time to  
16 come over. You're not in trouble sitting up in the front.

17 Garrett, if you could wait until -- yeah, just to  
18 make sure we can hear you.

19 Any other takers? Well, don't want to force  
20 anyone, but, okay. There's still chairs here.

21 MR. LEHMAN: Good afternoon. I wasn't sure it  
22 was going to work. Good afternoon, everyone. My name is  
23 Garrett Lehman. I serve as a Director of Development with  
24 Coval Infrastructure, and I bring over 15 years of hazard  
25 analysis and renewable energy development to California.

1 I'd like to thank Lead Commissioner Gallardo, the  
2 CEC staff, and the public for joining us today to review  
3 the CEC application for the Prairie Song Reliability  
4 Project.

5 Next slide, please.

6 Before discussing project specifics, I'd like to  
7 speak a little bit about who Coval is. Coval is a long-  
8 term owner and operator of large grid interconnected  
9 infrastructure. Our mission is to strengthen the grid  
10 while bringing down costs for everyday rate pitters. How  
11 we execute on that mission matters.

12 Safety is our first priority. It guides how we  
13 design our facilities, train our teams, work with first  
14 responders, and operate our projects every day. We apply  
15 rigorous engineering standards, build in multiple layers of  
16 protection, and hold ourselves accountable to continuous  
17 improvement.

18 Equally important is our commitment to the  
19 communities where we operate. We believe the right  
20 approach is to listen, engage directly at the right time,  
21 and be transparent about projects' benefits and impacts.

22 As we move through the presentation today, I'd  
23 like to reinforce that this isn't just a project for this  
24 community, but it's a project for the entire state.  
25 Prairie Song will benefit every Californian and help the

1 state meet its growing electricity, carbon reduction, and  
2 reliability goals.

3 Next slide, please.

4 I'd like to briefly take a moment to ground us in  
5 the Prairie Song Project and why it matters. Prairie Song  
6 is a standalone battery energy storage facility that will  
7 utilize lithium-ion phosphate technology, or LFP battery  
8 chemistry, which is widely regarded as one of the safest  
9 and most stable battery chemistries. The system will be  
10 containerized with layered fire protection, suppression,  
11 thermal management, and isolation systems built in. Safety  
12 is engineered to the project from the onset and -- from the  
13 outset and must meet stringent building, fire, electrical,  
14 and operational standards.

15 Beyond grid reliability, the project will provide  
16 measurable benefits to the local residents, Los Angeles  
17 County, and the state. We are committed to a just  
18 transition. The move to cleaner energy creates real  
19 opportunities for working families. That's why we're proud  
20 to stand here today with our union brothers and sisters  
21 with a project labor agreement already signed. This  
22 project labor agreement will help ensure family sustaining  
23 wages, strong safety protection for workers, and clear  
24 pathways into the skilled trades.

25 In addition, we're also very proud of the

1 community benefits agreement we have with the LA/Orange  
2 County Building and Construction Trades Council and Women  
3 in Non-Traditional Employment Roles. This partnership  
4 expands meaningful access for women entering and advancing  
5 in union training programs and supports a more inclusive  
6 workforce.

7 At its core, Prairie Song is about meeting  
8 growing electricity demand responsibly in a manner that  
9 prioritizes safety and delivers lasting benefits to the  
10 community.

11 If you look at the slide, the project is located  
12 roughly three miles from the commercial center of Acton and  
13 about as near to the Vincent Substation as you can get.  
14 That's a deliberate decision and we'll talk about it more  
15 on the next slide.

16 So it's important to address the fundamental  
17 question of why here. And the Vincent Substation is key  
18 node on California's transmission system. As a 500 kV  
19 substation, it's one of the few places that can accommodate  
20 a project of this size without the need for miles of new  
21 transmission upgrades or large substation build outs.  
22 Avoiding these types of upgrades, limits land disturbance,  
23 reduces environmental impacts, avoids added costs to  
24 ratepayers, and reduces time to operation to help these  
25 types of projects meet the grid when it is needed.

1           From a reliability perspective, Vincent is  
2 ideally located to move renewable energy in from the  
3 Central Valley and the eastern portions of the state to  
4 various load pockets. Also, what that means in practical  
5 terms is it allows energy that's generated during the day  
6 to be produced, stored, and used when it is needed, where  
7 it is needed.

8           We all recognize that this area requires careful  
9 attention to safety and land management and the project has  
10 been designed with that reality in mind. Prairie Song will  
11 incorporate defensible space, vegetation management, non-  
12 combustible materials, onsite water supply, and advanced  
13 fire depression -- fire detection and suppression systems  
14 into its design.

15           Because we've chosen to go down the CEC  
16 permitting path, it also means we must work closely with  
17 multiple regulatory agencies, the Commission, local fire  
18 authorities, and relevant state agencies to ensure  
19 emergency response planning and operational protocols are  
20 aligned before operations begin.

21           We're also committing to continuous reviews,  
22 trainings, and inspections during operations. These  
23 measures are intended to reduce risk, strengthen  
24 preparedness, and ensure the facility operates responsibly  
25 within its surrounding environment.

1           Next slide.

2           It's important to address -- sorry. Projects at  
3 Prairie Song are necessary to meet the growing economy and  
4 evolving electricity demands. California will need  
5 approximately 52,000 megawatts of energy storage by 2045 to  
6 help keep the lights on and houses cool. The state's  
7 already brought on 17,000 megawatts, and that's  
8 commendable. But as you can see from the first graphic,  
9 we're still a long way to go to meet that need.

10           By 2045, electricity demand is expected to  
11 increase by more than 50 percent. That growth is occurring  
12 alongside a planned 7,000 to 10,000 megawatts of natural  
13 gas capacity retirement. All this does is accelerate  
14 demand while reducing existing capacity resources. That  
15 makes the need for projects that can come online quickly  
16 even more important.

17           This unmet need carries real consequences for  
18 California families, businesses, hospitals, schools, and  
19 care facilities that depend on a system that must perform,  
20 especially when temperatures are hottest, demand is  
21 highest, and communities are most vulnerable.

22           Recent experience underscores what's at stake.  
23 During the record heat events of the summer of 2024,  
24 batteries provided 20 percent of the capacity at peak  
25 demand, helping to stabilize the grid and avoid outages.

1 Not only did batteries show up to meet demand, but also no  
2 Flex Alerts or calls for energy conservation were issued to  
3 residents that summer.

4 Projects like Prairie Song are not optional  
5 additions. They're essential infrastructure needed to  
6 protect people, strengthen an aging system, and ensure  
7 reliability as the grid grows and transitions to a cleaner  
8 future.

9 Next slide.

10 Battery safety is one of the most important  
11 questions surrounding this project, particularly in a  
12 community that lives with wildfire risk. The concern is  
13 legitimate and it deserves a response.

14 If you look at the first graphic, it reflects  
15 global experience. From 2018 to 2024, battery deployment  
16 increased tenfold, all while incident rates dropped  
17 precipitously. 2024 showed record deployment, although  
18 incident rates remained at some of their lowest.

19 The second graphic puts the scale in context for  
20 California. In 2019, California had one gigawatt of  
21 battery storage online. By 2025, that had risen to 17  
22 gigawatts, a 15-fold increase in just six years. But if  
23 you notice the red line at the bottom, incidents have not  
24 been increasing.

25 The reason for that are key best practices have

1 been established, standards have tightened, fire codes have  
2 strengthened, and system design requirements have advanced.  
3 The industry operates today under far more rigorous  
4 regulatory requirements than it did even one year ago,  
5 including new standards signed into law by Governor Newsom  
6 in 2025 and expanded reporting and regulatory requirements  
7 implemented by the California Public Utilities Commission.

8           Speaking to the third graphic, energy storage  
9 systems are everywhere at all scales, residential,  
10 commercial, utility. We're already seeing battery storage  
11 across the state, even in areas that are designated as high  
12 and very high wildfire hazard severity zones. That reality  
13 doesn't lessen the scrutiny applied to these projects. It  
14 increases it.

15           This project is proposed in a very high fire  
16 hazard severity zone, and the review before the Commission,  
17 the siting analysis, engineering design, fire protection  
18 systems, and operational protocols in the project will all  
19 address that fire designation.

20           Next slide, please.

21           I'd like to take a minute to emphasize the level  
22 of technical analysis that has gone on, gone into this  
23 project, and is continuing through the CEC certification  
24 process. As we move forward, Prairie Song will continue to  
25 undergo a comprehensive set of environmental, engineering,

1 and safety studies. The depth of this review extends well  
2 beyond your typical environmental assessment and reflects  
3 the seriousness with which potential impacts and safety  
4 concerns are being evaluated.

5           Regarding public health, specifically, multiple  
6 plume dispersion studies were conducted that exceeded burn  
7 scenarios experienced in typical UL 9540A and large-scale  
8 burn tests. An expanded toxic air contaminant analysis was  
9 also completed at the request of the CEC. These analyses  
10 evaluated worst-case thermal runaway behavior, heat release  
11 weights, radiant heat at property boundaries, container  
12 spacing, fire duration, and plume constituents. Under  
13 conservative modeling assumptions, the results indicate  
14 that exposures remained well within health-based protective  
15 thresholds at neighboring properties.

16           To reduce operational risk, the project has  
17 prepared a community risk assessment, a hazard mitigation  
18 analysis, and an emergency response plan. In addition, the  
19 design is going to be subject to an alternative materials  
20 and methods review framework which applies a heightened  
21 technical standard to fire protection and system  
22 configuration.

23           From a wildfire resiliency standpoint, the site  
24 is relatively flat and bound by existing infrastructure  
25 corridors that function as natural fire breaks. The layout

1 incorporates setbacks that study exceedance standards --  
2 that exceed standard requirements and includes two sources  
3 of defensible water as part of the project design.

4 Engineered container design, integrated fire response  
5 systems, and operational protocols are structured to  
6 contain potential events and prevent off-site impacts.

7           The takeaway here is important. Safety is not a  
8 single feature. It is a result of layered engineering  
9 controls, detailed technical studies, regulatory reviews,  
10 and disciplined operational planning.

11           Next slide.

12           At Coval, community partnership is core to who we  
13 are. When we build, we commit to showing up for the long  
14 term in places where our projects operate. Our focus is on  
15 what matters and that means listening carefully and  
16 aligning our investments with the priorities identified by  
17 the residents and local leaders.

18           One focus is wildfire preparedness and grid  
19 resiliency. In practical terms, that means helping the  
20 community better withstand encroaching fire and recover  
21 from power outages. We're exploring partnerships that  
22 expand access to backup power resources for critical  
23 facilities and trusted community locations.

24           We're also prioritizing workforce development,  
25 particularly expanding access to high quality careers in

1 the skilled trades. That includes support for women  
2 entering union apprenticeship and trade-readiness programs,  
3 veterans transitioning to civilian careers, and pathways to  
4 family-sustaining local jobs. We're proud to have our  
5 community benefits agreement in place to support women in  
6 the trades, and we see that as the beginning of deeper  
7 local engagement.

8 In addition, we're committing resources to early  
9 childhood education, K through 12 enrichment, wildfire  
10 resiliency, and conservation. These are long-term  
11 investments that support opportunity, economic mobility,  
12 and resilience across generations.

13 Now I'd like to hand the mic over to an active  
14 hazardous materials firefighter representing Fire & Risk  
15 Alliance, a nationally recognized fire protection  
16 engineering firm with extensive experience in battery  
17 energy storage systems.

18 Matt?

19 MR. QUINN: Thanks. Hi, everyone. My name is  
20 Matt Quinn, and I'm here today as a fire safety consultant.  
21 My own experience comes from the fire service. I've been  
22 over 20 years as a firefighter, fire officer, chief  
23 officer. And my perspective in the battery energy storage  
24 field, which is my expertise now, is very much from the  
25 emergency response perspective. And it also aligns well

1 with my own educational background, my degrees in chemical  
2 engineering, and my graduate degrees in public policy. So  
3 this has been the area that a lot of my efforts have come  
4 in.

5 And we can go.

6 It is a fairly complex thing going on. Garrett  
7 mentioned that there's a lot of advancements that have  
8 happened recently. He mentioned there's a lot of layered  
9 redundancies and safety features that come on in these  
10 sites. And he's absolutely right. But what I'm going to  
11 talk about is the two that are most critical and are what  
12 kind of set a site like we have here apart from things that  
13 we've seen in the past and are most important to  
14 understand.

15 Next slide.

16 So from the response perspective, the biggest  
17 difference with an energy storage system or any battery, is  
18 it an indoor or outdoor system? This is important because  
19 when a battery fails, when there is a problem with a  
20 battery, it produces flammable gas. It off-gases and  
21 produces flammable gases that are very buoyant and like to  
22 dissipate.

23 If it's outdoors, this is much less of a problem  
24 because it can dissipate and we know what we're looking  
25 for. It becomes more complicated when it's indoors. It

1 becomes very complex. And in the past, we've learned when  
2 things have gone poorly explosion could be possible if  
3 these things are inside buildings so it's not something we  
4 do very much anymore.

5           And this is what it looks like on the left there,  
6 that indoor BSS. Inside that shed there, there's a bunch  
7 of batteries inside.

8           Now, what we have here, this is an outdoor BSS  
9 system, it looks like, on the right. And instead of having  
10 a bunch of batteries inside one large container or one  
11 large building, what we have is batteries contained in  
12 smaller containers. And I'll show you what those look like  
13 on the next slide.

14           And this is important because each container, all  
15 it is inside is battery. So there's nowhere to walk  
16 inside. So it's a system of smaller batteries that are  
17 combined to increase their energy storage. You don't just  
18 make a bigger battery. You make a system of smaller  
19 batteries that are combined meaningfully.

20           So the basic thing that you have is a cell. That  
21 is the building block of all the batteries, just like the  
22 batteries we have at home. Just like those batteries, but  
23 very different in a way, which I'll talk about on the next  
24 slide. But when you have one building block as a cell, you  
25 combine them together and you can have a module about yay

1 big. A bunch of modules get combined together and you can  
2 have a rack. And what we see inside this container, it's  
3 about 20 feet long, it's just a bunch of these batteries  
4 that are connected together.

5 They're connected together in a very  
6 sophisticated way, which is important. Each cell has cell-  
7 level analytics and 24/7 monitoring. So there's a battery  
8 management system. This is the term that you'll hear  
9 that's very important, the BMS. It's a remotely monitored,  
10 computerized system that can see exactly what's going on in  
11 each one of these cells inside of these containers. That  
12 becomes critically important for responding firefighters  
13 and for identifying problems that could happen. That's  
14 what it looks like inside each enclosure, okay?

15 The next slide.

16 I only have a small time frame. Generally, I  
17 would go much longer, but I want to make sure that I hit  
18 the important things.

19 The idea that it's an outdoor system, very  
20 important.

21 The other important component is the battery  
22 chemistry. And this is a little bit less straightforward  
23 because these are lithium-ion batteries, but there are  
24 multiple flavors, many different flavors, we'll call them,  
25 of lithium-ion batteries, okay?

1           Garrett mentioned, these are LFP batteries. LFP  
2 stands for lithium iron phosphate. It's annoying. The F  
3 is for iron; right? Okay. What is more common in our  
4 everyday world that we'll see in our smaller, in our power  
5 tools, in our e-bikes, even our EVs, is the one on the  
6 left, nickel manganese cobalt. This is more common because  
7 it packs a little bit more, punches more energy in there.  
8 So as a result, it's a little bit more fire reactive. It  
9 is still unlikely to fail, but maybe it's a little bit more  
10 likely.

11           Okay, what's important here is that it has those  
12 three elements. Nickel, manganese, and cobalt are all  
13 actually contained inside this battery; right? Older  
14 systems would be predominantly NMC batteries. Smaller  
15 systems, predominantly NMC. What we have is LFP batteries  
16 and that's the state of the art. They are more fire safe,  
17 though they are a little bit less efficient from their  
18 storage standpoint, but it has huge environmental impacts  
19 as well.

20           So when we look at -- actually, we'll go to the  
21 next slide because I illustrated perfectly -- because when  
22 we look at things that have happened in the past, the fact  
23 that it's an NMC battery becomes hugely significant as it  
24 impacts the environment. And those two dynamics that I  
25 just talked about are the key differences that separate

1 this from the situation that we're most familiar with, this  
2 Moss Landing BS fire. This was an outlying setup that  
3 would not exist today. It came into existence before  
4 modern standards and safeguards were in place, as Garrett  
5 kind of referenced.

6           If you take a look there, I don't know if you  
7 guys can see, it was in a large pre-existing, it was a  
8 natural gas-fed power facility and they just filled it up  
9 with batteries on the inside. A huge building that was  
10 just filled with a bunch of batteries. So when there was a  
11 failure, there was no compartmentalization like we have  
12 here. It would move from one to the next. It was  
13 sprinkler systems involved there as well, which is another  
14 dynamic. But it was an indoor system, very different than  
15 the outdoor system we have.

16           It was also an NMC battery system, which has  
17 environmental impacts because those elements, those heavy  
18 metals, which are the concern that existed in there, were  
19 released into the environment and studies are ongoing to  
20 see the impact it's had on the local wetlands. And those  
21 chemicals, nickel, manganese and cobalt are not present in  
22 LFP battery chemistry, which is hugely important. So even  
23 if there is an issue with an LFP battery, those heavy  
24 metals are not produced.

25           Next slide.

1           So the things that are produced, and I'll come  
2 back to what those numbers on the top mean, but when one of  
3 these batteries does fail, we know what is produced. The  
4 vast majority of it are the things that are produced out of  
5 the fires. It's carbon monoxide, carbon dioxide and  
6 hydrogen gas. So we know what we have, and I know the fire  
7 chief is here, so we can talk about how that will inform  
8 our emergency response because we know what we're looking  
9 for. The vast majority are those very light gases which  
10 dissipate readily.

11           Also, there can be trace of other types of gases  
12 we have on the bottom there. And HF, HC, potentially toxic  
13 gases are produced here. What's interesting is those  
14 things that are produced aren't necessarily integral  
15 components of the batteries. They're kind of in  
16 everything. So what you're seeing is that component of  
17 what's being produced in these batteries is the same as in  
18 residential fires. So what you're seeing in house fires,  
19 those same toxic chemicals are produced. And if you have  
20 like one of the more -- like a Home Depot fire or a large  
21 commercial fire, there could be even more of these things.  
22 So it's important that we know what's there and what's not  
23 there as we kind of dig into the emergency response side of  
24 things.

25           The last thing I'm going to say is it says there, UL

1 (audio cuts out) -- mentioned there's heightened standards  
2 that exist now, one of which is a live fire test. They set  
3 them on fire and take all the readings to see what's going  
4 on. And that is very much informing what our response  
5 procedures are.

6 He also referenced that these are designed to  
7 consume themselves. If there is a problem, because it's  
8 modular and there's one on fire, they're designed such that  
9 it won't spread to the next one. They're designed that if  
10 it burns, it burns right there and it won't go further.  
11 And there are redundant safety features in where if one  
12 doesn't work, the next one will work. And that is the  
13 importance of having such a layered system.

14 And I know the fire department's here, so they'll  
15 speak to their own plan on it. But hopefully I didn't go  
16 too long.

17 MR. LEHMAN: Thank you, Matt.

18 And just before we wrap up, I'd like to mention  
19 there's a sign-up sheet in the back. If you'd like to  
20 provide your contact information and reach out directly or  
21 get any information about the project, please sign up and  
22 we can communicate. Thank you.

23 COMMISSIONER GALLARDO: Garrett, before you  
24 depart from the podium there, I did have just a couple of  
25 questions for clarification --

1 MR. LEHMAN: Absolutely.

2 COMMISSIONER GALLARDO: -- that I think might  
3 also be helpful to the public. Can you give us the  
4 estimate of the number of batteries that would be used for  
5 the project?

6 MR. LEHMAN: No.

7 COMMISSIONER GALLARDO: Okay.

8 MR. LEHMAN: I can tell you --

9 COMMISSIONER GALLARDO: I know that's difficult  
10 to do sometimes.

11 MR. LEHMAN: -- right now, there are  
12 approximately 2,035 containers at the end of life for this  
13 project. I believe each container will have roughly 4,922  
14 cells in it. But, yeah, I don't know the total number of  
15 cells off the top of my head.

16 COMMISSIONER GALLARDO: No problem. And then the  
17 number of years for the life of the project?

18 MR. LEHMAN: The life of the project is expected  
19 to be over 40 years.

20 COMMISSIONER GALLARDO: Okay. Thank you. That  
21 was it.

22 MR. LEHMAN: Thank you, Commissioner Gallardo.

23 MS. WORRALL: All righty. Thank you, Garrett,  
24 for that. And thank you, Commissioner Gallardo. My name  
25 is Lisa Worrall and I'm the Project Manager for the CEC for

1 this Prairie Song Reliability Project. I will cover the  
2 CEC's presentation with this situated on the staff  
3 assessment for the proposed project. I'd like to make a  
4 couple of points up first -- up front.

5           Firstly, although we're engaged in this data  
6 completeness review of the application with the applicant,  
7 CEC staff analysis is in the early stages. That's why  
8 we're here today, engaged with the public now to get public  
9 scoping efforts and hear your comments and concerns. As  
10 part of staff's independent information gathering, we are  
11 looking for input on the scope of what our CEQA analysis  
12 should contain.

13           Secondly, while this is an accelerated process, a  
14 complete and independent environmental analysis will be  
15 conducted.

16           Next slide, please.

17           The CEC has an interdisciplinary team of  
18 technical specialists that will pair a staff assessment. A  
19 staff assessment is an independent technical and  
20 environmental review prepared by the CEC that is more  
21 comprehensive than a typical Environmental Impact Report,  
22 or EIR. The staff assessment includes a Draft EIR  
23 following the requirements of CEQA, California  
24 Environmental Quality Act, and CEQA guidelines. We will  
25 later show the topics in the environmental and engineering

1 impact analysis, some mandatory Opt-In requirements that  
2 are included in the staff assessment.

3           The staff assessment includes an environmental  
4 justice analysis of the proposed project's impact on  
5 environmental justice population, and this is based on the  
6 presence of a minority or low-income population, and  
7 considers whether the proposed project would have a  
8 disproportionately high adverse human health or  
9 environmental effect on that population.

10           And finally, the CEC -- the staff assessment will  
11 include compliance conditions and Compliance Monitoring  
12 Plan. This is to ensure that, should the project be  
13 approved, construction, operation, and decommissioning  
14 complies with all conditions of the certification.

15           Next slide, please.

16           The purpose of a staff assessment is to provide  
17 objective information regarding the proposed project's  
18 significant effects on the environment, identify possible  
19 ways to minimize the significant effects, describe a range  
20 of reasonable alternatives to the proposed project, their  
21 feasibility, and their comparative merit, and also provide  
22 an evaluation of the extent to which the application  
23 complies with additional licensing requirements set forth  
24 in the Public Resources Code. This information will be  
25 considered by the CEC Commissioners in deciding whether to

1 grant a certificate to build and operate the proposed  
2 project.

3 Next slide, please.

4 These are the topics CEC technical engineers and  
5 environmental specialists are analyzing to produce a staff  
6 assessment. The topics incorporate those in Appendix G in  
7 the Environmental Checklist of the CEQA Guidelines and  
8 include other topics required by the Public Resources Code.

9 The staff assessment will also evaluate a range  
10 of reasonable alternatives to the proposed project. In  
11 addition to a no-project alternative, the staff assessment  
12 will consider alternatives that would avoid or  
13 substantially lessen the project -- the proposed project's  
14 significant effects while feasibly attaining most of the  
15 proposed project objectives.

16 Next slide, please.

17 The staff assessment will also include an  
18 evaluation of the proposed project's compliance with  
19 mandatory Opt-In requirements, which will include a skilled  
20 workforce requirement and a community benefits agreement.  
21 Mandatory Opt-In requirements are not limited to those  
22 listed here on the slide and can be found in the California  
23 Code of Regulations Title 20, section 1879.

24 Next slide, please.

25 The CEC sent a notice of preparation or NOP of a

1 Draft EIR for the Prairie Song Reliability Project to the  
2 State Clearinghouse, also known as the Office of Land Use  
3 and Climate Innovation, or LCI, mailed the NOP to  
4 responsible and trustee agencies, and filed a copy with a  
5 Los Angeles County clerk. We also posted the NOP to the  
6 project docket and it is available for review at the  
7 docket.

8           Based on preliminary review of the application  
9 materials, the NOP identifies several topic areas with  
10 probable -- oh dear, internet is unstable -- probable  
11 environmental effects that will be evaluated further in the  
12 EIR. However, since we are still early on in the analysis,  
13 additional environmental effects may be identified as staff  
14 conducts a comprehensive environmental review.

15           The following slides identified some key topics  
16 for analysis in the EIR that staff has identified thus far.  
17 These topics include biological resources and worker safety  
18 fire protection, which includes battery safety.

19           Next slide, please.

20           CEC staff receive email updates when new files  
21 are posted to the project docket and are reviewing files on  
22 a regular basis as they come in. To date, the CEC has  
23 received over 160 comment letters on this project.

24           This slide represents some of the known areas of  
25 questions and interest raised by the public based on --

1 raised by the public based on comments received to date.  
2 This includes questions about fire, thermal runaway,  
3 battery energy storage system safety, toxic air emissions,  
4 conflicts with local land use designations and proximity to  
5 homes, transportations, corridors and water supply. Staff  
6 uses comments to help develop the scope and content of the  
7 environmental document and learn about the areas of  
8 potential concern within each resource topic.

9 Next slide, please. However, I believe we may be  
10 pausing for a break. So, yes, the next slide is a break.

11 COMMISSIONER GALLARDO: All right, we will be  
12 taking a break. So if you all need to stretch, stand up,  
13 go get a fresh breath of air, you can.

14 But I do want to remind folks that we have  
15 material in the back of the room with our staff. There's  
16 the agenda. There's an FAQ sheet on Opt-In program summary  
17 document that could be helpful for the proceeding  
18 presentation slides and the blue cards for the public  
19 comment.

20 Okay, we'll return at 4:05.

21 (Off the record at 3:56 p.m.)

22 (On the record at 4:08 p.m.)

23 MS. GREY: All right. Thank you so much,  
24 everyone, for coming on back. And we appreciate the  
25 opportunity to take that 10 minute break. This proceeding

1 is going until 8:00 p.m., so some of us will be here for  
2 quite some time.

3 But again, just wanted to reintroduce myself for  
4 folks who have just joined us recently. My name is  
5 Caroline Gray, and I'm a Senior Advisor to the Chair of the  
6 Energy Commission, Chair Hochschild, who unfortunately  
7 could not be with us today.

8 I want to emphasize that the single most  
9 important factor in our permitting decisions is safety. As  
10 you heard, our independent review process led by expert  
11 staff takes an exhaustive approach to every dimension of  
12 battery safety. We have never had a fire at a storage  
13 facility permitted by the California Energy Commission.  
14 And we intend to keep it that way. We look forward to  
15 analyzing this project's choice of site, design,  
16 technology, and more over the months to come.

17 I also want to emphasize that the battery safety  
18 is a top priority for the entire State of California, not  
19 just the California Energy Commission. Our agency is proud  
20 to be a part of the new California Battery Safety  
21 Collaborative, which includes senior leadership at CAL  
22 FIRE, the California Air Resources Board, the California  
23 Public Utilities Commission, and the Governor's Office of  
24 Business and Economic Development. This group is taking an  
25 all-of-government approach to ensure that our battery

1 systems are safe and reliable for the communities that they  
2 serve.

3 As staff will subsequently discuss, as the  
4 industry has moved to new codes and chemistries, there have  
5 already been significant improvements in battery safety,  
6 but we don't take anything for granted. The state's  
7 Battery Safety Collaborative is committed to ensuring best-  
8 in-class safety in every aspect of a battery project's  
9 life, including permitting, installation, monitoring, and  
10 emergency planning. And that is the lens through which the  
11 CEC will review the battery project that's being presented  
12 to us today.

13 Next slide, please.

14 And with that, I'll pass to Dr. Alvin Greenberg.

15 DR. GREENBERG: Thank you, Caroline. Good  
16 afternoon, everyone. I'm Alvin Greenberg, and I'm  
17 responsible for conducting the safety analysis for the  
18 California Energy Commission and preparing one section of  
19 the staff assessment, that being worker safety and fire  
20 protection.

21 I've worked with the Energy Commission as  
22 contract staff for over 31 years and have analyzed these  
23 issues for a vast array of energy projects, ranging from  
24 natural gas-fired power plants, solar photovoltaic and  
25 other solar projects, wind turbines, geothermal, coal

1 gasification, and more recently, several battery energy  
2 storage systems.

3 I've also conducted power plant compliance  
4 inspections and served as a safety monitor for the  
5 construction of a PV solar facility and for the demolition  
6 of some older solar facilities. Having a safety monitor  
7 during construction of any CEC licensed facility is one of  
8 our standard requirements.

9 Staff knows that safety is of great importance to  
10 all of you, and it's a priority for us. Working with my  
11 colleagues, who will be responsible for assessing potential  
12 impacts to public health, we are focused on conducting a  
13 thorough and professional analysis of this proposed  
14 project. And we will read every single comment received  
15 from the public before, during, or after this scoping  
16 meeting.

17 I work with Brett Fooks. He's the manager of the  
18 Safety and Reliability Branch in the CEC's STEP Division,  
19 and we are very aware that the public has raised several  
20 questions about battery energy storage fires that have  
21 occurred in the state. There are two incidents that I  
22 would like to touch on, the one at Moss Landing and the one  
23 at Otay Mesa.

24 Before I discuss these incidents, I will briefly  
25 describe what goes into a worker safety fire protection

1 analysis.

2           Next slide, please.

3           Worker safety is of paramount importance, as is  
4 public health. Construction and operation of a battery  
5 energy storage system, or BESS facility, is complex and  
6 represents dangers to workers. The presence of high  
7 electrical energy, trenching and excavation to prepare the  
8 site, the placement of electrical cables underground,  
9 working in the high heat of the desert, and the possible  
10 presence of a fungus that causes valley fever are but a few  
11 of the dangers workers face that must be mitigated.

12           Cal/OSHA is the state agency responsible for  
13 determining and enforcing worker safety and health  
14 regulations. However, as the permitting agency, the Energy  
15 Commission plays an important role in ensuring that workers  
16 have a safe environment -- (clears throat) excuse me --  
17 during both construction and operation of the facility.

18           My assessment will review the applicant's  
19 proposed worker safety engineering and administrative  
20 controls, their personal protection equipment program, and  
21 make recommendations to the Commissioners to require  
22 additional protections as needed.

23           Fire protection is also key for all projects that  
24 come before the Energy Commission. Fire protection  
25 includes prevention, detection, suppression, life safety

1 protection and response, an assessment of the fire hazards,  
2 review of what the applicant has planned to address those  
3 hazards, collaboration with the local fire department, in  
4 this case, the L.A. County Fire Department, and proposing  
5 additional fire protection methods to the Commissioners for  
6 their consideration as requirements. We examine all  
7 potentials for fire, from small ones to larger ones that  
8 may occur.

9           When specifically reviewing a BESS project  
10 application, we examine the potential for a BESS fire,  
11 require that early detection methods are employed to  
12 prevent a BESS fire, require that fire propagation  
13 preventative methods are used, and we work with the local  
14 fire department to ensure they have the necessary staff,  
15 equipment, and training to address a BESS fire should that  
16 occur. Not every fire department in California is as  
17 knowledgeable and equipped as the L.A. County Fire  
18 Department.

19           The key to worker safety and fire protection is  
20 prevention. In preparation of the Worker Safety Fire  
21 Protection Section, CEC staff will review the history of  
22 BESS fires and the evolving strategies for BESS safety.  
23 The applicant has proposed battery storage systems that are  
24 in containers and would use lithium iron phosphate  
25 batteries. As I will explain in the next few slides, both

1 of these choices are improvements over older technologies  
2 and enhance safety.

3 We will also assess and consider potential  
4 impacts and available mitigation measures for the  
5 transporting of the battery storage containers to the  
6 proposed site.

7 Next slide, please.

8 This slide depicts Vistra Moss Landing Energy  
9 Storage Facility, a BESS facility not licensed by the  
10 California Energy Commission, and this photo shows what it  
11 was like before their fire. The fire occurred in the Phase  
12 1 portion of the project, depicted in one of the purple  
13 rectangles.

14 Hilarie, could you please point to this Phase 1  
15 portion of the project on the slide image? Thank you.

16 This BESS facility had a 300 megawatt, 1,200  
17 megawatt hour capacity, and began commercial operation in  
18 late 2020. This project was a utility-scale battery energy  
19 storage system that used the lithium-ion nickel manganese  
20 cobalt, or NMC, chemistry that you heard about earlier and  
21 was located within an older converted turbine building  
22 hall. The fire started on January 16th, 2025.

23 Next slide, please.

24 The Gateway Energy Storage Facility located in  
25 Otay Mesa has a 250 megawatt, 1,000 megawatt hour capacity,

1 and began commercial operation in mid 2020. This facility  
2 was also not licensed by the CEC. The project is a  
3 utility-scale battery energy storage system that also has  
4 lithium-ion NMC chemistry and is located within a warehouse  
5 built for energy storage. That fire started on May 15th,  
6 2024.

7 Next slide, please.

8 On the left you can see a picture of the Moss  
9 Landing Energy Storage Facility. Now, as I mentioned  
10 before, both Moss Landing and Gateway facilities became  
11 operational in the mid to late 2020s and are located  
12 indoors and use NMC lithium-ion chemistry. Since 2020,  
13 battery storage codes and the industry have evolved to make  
14 the currently proposed projects safer.

15 Two industry best practices I would like to  
16 highlight are the use of containers and a different  
17 lithium-ion chemistry.

18 As you can see from the picture on the right,  
19 recent battery energy storage projects have been placed in  
20 separate containers and not in a building. As discussed in  
21 the staff assessment for the recently certified Darden  
22 Clean Energy Project, the reasoning for this is that  
23 containerization minimizes the damage caused by thermal  
24 runaway fires and reduces the threat of fire propagation.  
25 In essence, each container has a smaller amount of stored

1 energy and if an incident were to occur, it could be  
2 confined to one container. Thus, the threat of the other  
3 containers catching fire would be minimized, unlike in a  
4 building application.

5 Next slide, please.

6 The second item that has changed is the battery  
7 energy chemistry that is used in utility-scale S. Looking  
8 at this slide, we see it simply illustrates the battery  
9 chemicals. This is not what the battery looks like. The  
10 applicants discuss this topic and I will expand on it.

11 One can see that an LFP battery consists of the  
12 elements lithium, iron, and phosphorus. And just in case  
13 anybody forgets their chemistry classes, why does F  
14 indicate iron? Because the atomic symbol for iron in the  
15 periodic table is Fe, short for the Latin word ferrum,  
16 which means iron. An NMC battery consists of nickel,  
17 manganese, and cobalt.

18 One of the additional safety measures afforded by  
19 the use of an LFP battery is that while nickel and cobalt  
20 are very toxic, they are both carcinogenic, iron and  
21 phosphorus are safe, even essential nutrients for humans.  
22 And this fact is an added bonus when the batteries are  
23 produced, recycled, or if waste is generated.

24 Moss Landing and Gateway used an NMC lithium-ion  
25 chemistry. The industry has moved primarily into the LFP

1 lithium-ion chemistry base. The primary difference between  
2 the two is energy density and safety. LFP has a lower  
3 energy density, but it also has a higher threshold  
4 temperature for thermal runaway. Both of these  
5 characteristics make it comparatively safer. The specific  
6 energy of LFP batteries ranges from 90 to 100 watt hours  
7 per kilogram, while the specific energy of NMC batteries  
8 ranges from 150 to 220 watt hours per kilogram.

9 The takeaway I want to leave with everyone is  
10 that containers help reduce the threat of a fire spreading,  
11 and the LFP chemistry helps to reduce the chance of a  
12 thermal runaway occurring, and it uses safer elements.

13 Next slide, please.

14 The CEC already has experience with permitting  
15 and overseeing the construction and operation of a wide  
16 range of utility-scale battery types and sizes. The Marsh  
17 Landing, Russell City, Sentinel, and Stanton Energy  
18 Projects are fully operational and range from 10 to 17  
19 megawatts. The Henrietta Project has 99 megawatts, while  
20 the Border Project has 52 megawatts. The recently  
21 certified Darden Project, once built, will have up to 1,150  
22 megawatts of battery energy storage, and it's currently  
23 under construction in the Central Valley.

24 I wanted to emphasize the range of CEC projects  
25 because we perform an independent, rigorous analysis for

1 any battery energy storage system project, no matter its  
2 location, its size, and with an emphasis on safety. The  
3 CEC looks at every aspect of safety to ensure that if a  
4 project were certified, it would not create a significant  
5 impact during the construction or operation of the project.

6           Additionally, we stay up to date with the latest  
7 codes, standards, research, and best practices for battery  
8 energy storage systems.

9           Next slide, please.

10           As you have heard before, we are just beginning  
11 our analysis after reading the application and receiving  
12 answers to questions posed to the applicant in the form of  
13 data requests. I do want to share with you a little bit of  
14 the process staff will follow and the new standards and  
15 requirements the CEC is implementing this year for all BESS  
16 projects under our jurisdiction.

17           The first step in our process is to identify each  
18 hazard that may be posed to on-site workers or the off-site  
19 public during both construction and the operation of the  
20 energy storage system.

21           Next, staff will examine and assess the chances  
22 of that hazard impacting the off-site public and the  
23 workers at the site by reviewing the following: information  
24 provided by the applicant about the battery chosen for use  
25 at this project, which in this case is the Sungrow Titan

1 2.0 battery; past accidents of this battery energy storage  
2 system and any other similar battery energy storage  
3 systems; engineering studies and published scientific  
4 studies and industry reports. Additionally, staff  
5 continues to review any available root cause analyses from  
6 past BESS incidences to learn what worked and what didn't  
7 work.

8           Staff will then address the hazards that require  
9 mitigation, assess whether the applicant's proposed  
10 mitigations are adequate and determine if additional  
11 mitigation is required. If additional controls are needed,  
12 staff will then propose additional mitigation in the form  
13 of a condition of certification, which is abbreviated COC,  
14 that becomes an enforceable requirement of the project if  
15 it's approved.

16           When evaluating proposed projects, CEC staff,  
17 management, and Commissioners are committed to ensure the  
18 safest possible production and storage of energy for all  
19 Californians.

20           Next slide, please.

21           Staff will evaluate this project against the most  
22 recent new safety standards and codes that will include the  
23 National Fire Protection Association, or NFPA, Code 855,  
24 the 2026 edition, UL Solutions, California Fire Code, the  
25 Los Angeles County Fire Department, and the California

1 Public Utilities Commission General Order 167-C that was  
2 adopted just this past March 2025.

3 Now, there are literally hundreds of different  
4 codes and standards that a project must follow during  
5 planning, construction, operation, and decommissioning, and  
6 they're really too numerous to mention here. But I would  
7 like to highlight a few of the more important and more  
8 recent safety and fire protection requirements.

9 Next slide, please, if you'll excuse me?

10 The NFPA is the nation's premier fire safety  
11 organization with a membership of over 50,000 fire  
12 department members, fire protection professionals,  
13 academics, and regulators. It's a global self-funded  
14 nonprofit organization that develops and maintains  
15 consensus-based codes and standards for fire, electrical,  
16 and related hazards. Its mission is to eliminate death and  
17 industry -- injury and economic loss from fire and other  
18 hazards by providing information, research, education, and  
19 advocacy.

20 Currently, there are 384 NFPA standards, of which  
21 one is dedicated to battery energy storage systems. The  
22 most recently updated standard of 855 applies to the  
23 design, construction, installation, commissioning,  
24 operation, maintenance, and decommissioning of stationary  
25 battery energy storage system. This standard includes such

1 important requirements as emergency planning, training,  
2 system interconnections, and maintenance.

3           There have been several other updates from the  
4 2023 edition, and some of the new requirements include the  
5 requirement for a hazard mitigation analysis for battery  
6 energy storage system installations, enhanced fire and  
7 explosion testing, including large-scale fire testing to  
8 better assess performance under worst-case test conditions,  
9 and the requirement for a thermal runaway propagation  
10 prevention system.

11           Because this is a consensus-based standard and  
12 not currently an enforceable code, staff will propose a  
13 condition of certification requiring compliance with NFPA  
14 855, the 2026 edition.

15           Next slide, please.

16           These industry standards were developed by UL  
17 Solutions, formerly known as Underwriter Labs, a name most  
18 familiar with -- most people would find familiar as a label  
19 that can be found on electrical kitchen appliances, power  
20 tools, and even extension cords. UL is a 132-year-old  
21 company that researches safety and develops standards  
22 addressing the risks from fires and electrical shocks.  
23 OSHA and Cal/OSHA both require that almost all electrical  
24 devices and cables in workplaces meet the relevant UL  
25 standards.

1           UL 9540 is a certification that signifies that an  
2 energy storage system has undergone rigorous testing and  
3 evaluation to ensure that it meets the safety standards for  
4 electrical and electrochemical energy storage technologies.  
5 Staff requires this certification.

6           UL 9540A, a companion standard, provides a test  
7 method for evaluating thermal runaway propagation in  
8 battery energy storage systems and is required before a UL  
9 9540 certificate can be issued. Staff requires this  
10 testing.

11           And UL 1973 covers a wide range of battery  
12 technologies, including lithium-based, and requires a range  
13 of safety performance tests. Staff also requires these  
14 tests and certification.

15           Next slide, please.

16           The California Fire Code was amended July 1st,  
17 2024 to add regulations governing BESS placement and  
18 operation in California. These new regulations must be  
19 followed by all such projects, and it specifically includes  
20 requirements in Section 1207, which outlines the scope,  
21 hazard mitigation analysis, fire tests, and separation  
22 requirements for battery energy storage system  
23 installations, amongst many other requirements.

24           Staff is already working very closely with the  
25 L.A. County Fire Department and will also reference their

1 codes for compliance.

2 Next slide, please.

3 Also applicable is the newly adopted California  
4 Public Utilities Commission General Order 167-C, which  
5 establishes stricter standards for maintenance and  
6 operation of BESS and increases oversight of emergency  
7 response plans.

8 Next slide, please.

9 Here are some examples of mitigation measures  
10 that staff and the Energy Commission have required for  
11 battery energy storage systems, and these have been  
12 approved or will soon be decided by the Commissioners.

13 Deflagration panels or active ventilation systems  
14 such as explosion-proof fans and vents that open. These  
15 would either direct any explosion upwards rather than to  
16 the sides, thus avoiding impacting adjacent units and  
17 avoiding propagation, or remove any flammable gases before  
18 they can explode.

19 Thermal infrared cameras. These are used to  
20 detect heat anomalies before they induce a thermal runaway  
21 event.

22 A construction and operations and maintenance  
23 fire protection program. This is required by Cal/OSHA and  
24 includes several programs that protect workers and provide  
25 for fire protection.

1           A command and control center. This is to be used  
2 if a fire occurs, so that the first responders of the fire  
3 department can receive telemetry data from the units and  
4 direct operations from outside the battery area, thus  
5 protecting firefighters.

6           Next slide, please.

7           I would now like to pass the presentation back to  
8 Lisa Worrall.

9           MS. WORRALL: Thank you so much, Dr. Greenberg.

10          For biological resources, the proposed project  
11 site is located on the northern side of the San Gabriel  
12 Mountains, bordering the Antelope Valley and partially  
13 overlapping the Santa Clara River Significant Ecological  
14 Area, or SEA. The SEA is a conservation area formally  
15 designated by the Los Angeles County zoning regulations.

16          The figure to the right shows the regional  
17 location of the project site. The site supports a variety  
18 of native vegetation, including shrub and sagebrush  
19 communities, as well as California juniper trees woodland,  
20 a sensitive natural community. The proposed project could  
21 affect several rare plant species identified by the  
22 California Native Plant Society.

23          Additionally, the proposed project may cause  
24 direct and indirect impacts to special status wildlife,  
25 including species protected by the California Endangered

1 Species Act and the California Fish and Game Code,  
2 including Crotch's bumblebee, which is a state candidate  
3 species for listing under the California Endangered Species  
4 Act, Southern California ringtail, a state fully protected  
5 species, mountain lion, a recently listed threatened  
6 species.

7 Next slide, please.

8 Some of the probable direct and/or indirect  
9 environmental effects on biological resources from the  
10 construction and operation of the proposed project include  
11 impacts to special status plants and vegetation communities  
12 from removal and crushing during grading and development of  
13 the site and offsite erosion or sedimentation.

14 Impacts to special status wildlife from loss of  
15 habitat and potential injury or mortality to crutches  
16 bumblebee and other special status wildlife.

17 Disruption of nesting for special status bird  
18 species and common species protected under the Migratory  
19 Bird Treaty Act and the California Fish and Game Code.

20 Other project effects, including disruption of  
21 wildlife movement and introduction of human-related  
22 influences, such as lighting, noise, dust, and introduction  
23 of invasive weeds.

24 The CEC staff is gathering information and  
25 conducting analysis to determine appropriate avoidance,

1 minimization, and mitigation measures in coordination with  
2 the California Department of Fish and Wildlife. The  
3 project would result in impacts on, potentially, state  
4 jurisdictional waters. CEC is conducting analysis to  
5 determine the best appropriate management practices and  
6 avoidance, minimization, and mitigation measures for  
7 jurisdictional waters in coordination with the California  
8 Department of Wildlife -- Fish and Wildlife. Sorry.

9 Staff is evaluating impacts to the SEA and its  
10 locally rare and protected resources and will be  
11 coordinating with the County of Los Angeles.

12 Next slide, please.

13 And now I'll turn the mic back over to Kaycee  
14 Chang.

15 MS. CHANG: Thank you, Lisa.

16 The CEC is in the early stages of analysis of the  
17 proposed Prairie Song Reliability Project now that the  
18 application is complete. Staff will use information  
19 gathered during this scoping process in the preparation of  
20 the staff assessment. For example, we have a court  
21 reporter here today transcribing today's meeting who will  
22 capture any verbal comments made here.

23 With certain exceptions, the staff assessment is  
24 prepared within 150 days of the application completeness  
25 determination. The staff assessment is anticipated to be

1 published in June 2026. There will be a 60-day public  
2 review period for the staff assessment and CEC will come  
3 back and hold a public meeting during that period.

4           Following the close of the 60-day public review  
5 period, staff may prepare and publish an updated staff  
6 assessment and will file the CEC Executive Director's  
7 recommendation on whether the CEC should issue a  
8 certificate to build and operate the project. A CEC  
9 decision on the proposed project will be made at a publicly  
10 noticed CEC business meeting.

11           And now I'll pass the presentation over to Fabi  
12 Lao.

13           Next slide, please.

14           MS. LAO: Good afternoon. Once again, I'm Fabi  
15 Lao. I'm the Equity Outreach and Engagement Lead with the  
16 Office of the Public Advisor, Energy Equity, and Tribal  
17 Affairs. And today I will be presenting on how members of  
18 the public, California Native American tribes and others  
19 can participate in this proceeding.

20           Next slide, please.

21           Part of our office's mission is to facilitate  
22 public and tribal engagement in CEC programs and policies.  
23 We are a free resource available to anyone who wants to  
24 participate in CEC proceedings, including the Prairie Song  
25 proceeding. I will be sharing our contact information on a

1 later slide.

2 Next slide, please.

3 Now we'll talk about different ways to  
4 participate in the CEC's Prairie Song proceeding. There  
5 are multiple ways to participate. The first one is to  
6 follow the proceeding. Another is to comment on the  
7 proceeding. And a third option open to California Native  
8 American tribes is tribal consultation.

9 Next slide.

10 I will now go into more detail on how to follow  
11 this proceeding. One of the most popular ways to  
12 participate in our programs and policies is just to follow  
13 them. You can follow our proceedings by reviewing  
14 materials we post on our website, signing up for email  
15 updates, and by attending events like the one here today.  
16 Our events are almost always hybrid or fully virtual via  
17 Zoom, so the public can attend our events from anywhere via  
18 a phone or an internet connection.

19 On this slide, you see a snapshot of the CEC  
20 webpage for the proposed Prairie Song Reliability Project.  
21 It has information on the proposed project and project  
22 status. It has a place where you can subscribe for free  
23 email updates on this project under the subscribe section.  
24 And there is a link to submit written comments directly to  
25 the project docket. And there's also a link to the entire

1 project docket.

2           So what is a docket? The CEC has publicly  
3 accessible online dockets for its proceedings. This is  
4 basically a place where application materials, public  
5 comments, notices, agendas, and other documents are filed  
6 and available online.

7           On this slide, the image to the right is of the  
8 docket for the proposed Prairie Song Reliability Project.  
9 With few exceptions, all materials in the docket are linked  
10 and available for anyone to download and view for free.

11           Next slide, please.

12           Another way to participate is to comment. As in  
13 all CEC's programs and policies, any person can comment  
14 verbally at a CEC event or in writing. Please note that  
15 comments will become part of the public record with access  
16 available via any internet search engine. To comment  
17 verbally, just attend the event and wait for the  
18 instructions during the public comment period to make your  
19 comment. For hybrid events, you can comment in-person or  
20 via Zoom online or by phone. And coming up on our agenda  
21 is a public comment period.

22           The CEC also welcomes written comments. As I  
23 stated before, on the CEC website, we have what is called a  
24 docket for each project proceeding. Written comments can  
25 be submitted to the docket for the proceeding at any time.

1 But the most effective time to do so is during the  
2 announced public comment periods. On our website, you can  
3 submit a comment electronically by typing into our e-  
4 comment page or uploading a document such as a letter.

5 We also have email and paper mail options to  
6 submit a comment that are detailed in the notice for  
7 today's event. And if you need assistance commenting, you  
8 can contact our office, the Public Advisor, Energy Equity,  
9 and Tribal Affairs, and it will have our contact  
10 information on my last slide.

11 Next slide, please.

12 The CEC has invited tribal consultation in this  
13 and other Opt-In proceedings. Patrick Riordan from the  
14 CEC's siting division is available for inquiries and other  
15 communications from California Native American tribes.

16 Next slide.

17 Thank you for attending this meeting and your  
18 interest in this proceeding. We're here to serve the state  
19 of California and your participation is a big part of this  
20 process. Here's the information for the office of the  
21 Public Advisor, Energy Equity, and Tribal Affairs. My  
22 office is here to assist you in participating in our Energy  
23 Commission's programs and policies. And again, just a  
24 reminder to please turn in your blue card, the Public  
25 Advisor table in the back if you would like to provide

1 public comment.

2           And now the Energy Commission welcomes public  
3 comment at this time. And before we move to the general  
4 public comment, we will begin with comments from government  
5 entities, including local, state, and federal agencies and  
6 California Native American tribes. If you represent a  
7 government entity, including a California Native American  
8 tribe, if you're in the room, please walk up to the podium.

9           If you're on Zoom, click on the raise-hand  
10 feature. It looks like an open palm at the bottom of your  
11 screen. And if you are joining us by phone, please press  
12 star nine to raise your hand.

13           We will start with commenters joining us in-  
14 person, then transition to our online and phone attendees.  
15 If you are here as a member of the public, we ask that you  
16 wait until we hear from government entities.

17           And I have here the blue card for Richard  
18 Stillwagon. You want to come to the podium, please?

19           MR. STILLWAGON: Thank you. Commissioner  
20 Gallardo and panel, thank you very much for being here  
21 today. I am Richard Stillwagon, the Fire Marshal for Los  
22 Angeles County Fire Department.

23           It is a pleasure to have the State of California  
24 come and be open and transparent with the community. I  
25 thank you for that. I think that government partnership

1 with the community is very important, both with our private  
2 partners and the community at large. And just your  
3 presence here today speaks volumes to be transparent, and I  
4 really appreciate that.

5           So as the Fire Marshal, my primary mission and  
6 objective is the safety of the public and my first  
7 responders, period, end stop. And so I am very happy that  
8 this Commission has reached out to Los Angeles County Fire  
9 Department. Our Fire Chief, Anthony Maroney, had proposed  
10 and committed to Board of Supervisors Kathryn Barger and  
11 the rest of the board that all Los Angeles County and  
12 California codes and laws shall be followed in this space.  
13 No corner shall be cut. So that is our governance  
14 directive that I want to partner with you in protecting my  
15 community members and our public safety personnel  
16 responding to any type of incident that comes into play.

17           Of particular interest for the public, I will  
18 just quickly say, I have 34 years in the fire service.  
19 I've worked at all ranks from firefighter, engineer,  
20 captain. I was also a supervisor for the petroleum  
21 chemical unit regulating all chemicals in Los Angeles  
22 County, anywhere from nuclear all the way down to battery  
23 energy storage and everything in between, particularly in  
24 the oil refinery fields. So I have quite an extensive  
25 experience in both the chemistry space and building new

1 projects and large projects. I am now the Fire Marshal  
2 where I conduct a broad scope across all of L.A. County and  
3 it's good to continue to bring public safety as our primary  
4 purpose.

5           So within the Acton community, they have specific  
6 risks and I just want to make sure those are identified.  
7 One is the threat of wildland fires, particularly wind-  
8 driven wildland fires in this 14 Corridor space. So that  
9 is an area that the Commission needs and must look at to  
10 make sure for the safety of the public and for this  
11 particular project.

12           The second is on-site BESS fires. Though we  
13 produce and put in every safety element possible, incidents  
14 still happen and they're going to happen. So we need to  
15 ensure those incidents are held small, they're kept to  
16 their site of origin and they don't expand into the  
17 neighboring field and/or off-site for the community threat.  
18 So that is the number two item.

19           Number three, earthquake and flooding. Those are  
20 two particular concerns that have to be looked at both on a  
21 seismic level and then the flooding element. We've got to  
22 make sure this isn't in a flood zone because battery  
23 technology and water don't mix very well. That would be a  
24 particular concern.

25           However, on the flip side, I'm looking at and

1 listening to what has been stated today. California is the  
2 inventor of CEQA. They are the environmental  
3 protectionists. They designed and developed all the codes  
4 and laws that are in California today. So partnering with  
5 the Water Board, partnering with the environmentalists to  
6 make sure this is the best project possible, I really  
7 encourage that we keep doing that throughout the state of  
8 California.

9 Adding the NFPA 855 2026 edition, L.A. County  
10 fought hard for that. We're one of the leaders in BESS  
11 technology safety. We're on the Codes Committees at the  
12 ICC. We are here on the Committee. We actually have a  
13 voting member of the Committee here in California. We are  
14 a leader in the nation, especially in Southern California.  
15 And thank you for partnering with us and drawing from that  
16 use to bring the best and local knowledge to the table for  
17 this project.

18 Finally, setback distances. Setback distances  
19 from the public is essential. So we need to understand the  
20 modeling. And what I heard today was both modeling for  
21 explosion and modeling for toxicity. Modeling for toxicity  
22 has been the missing element in the battery energy storage  
23 space. And the fact that this Commission addressed that  
24 item is huge. That is an advancement not only for this  
25 community and their protection, but all communities

1 throughout the United States. So thank you for bringing  
2 that to attention. That, again, is something Los Angeles  
3 County Fire Department has been advocating for.

4 And finally, water availability. We are in a  
5 desert. Water availability for this project is huge. We  
6 need to make sure we have the adequate water flow, not just  
7 to contain an incident, but it's more particular for like  
8 trucks that come on site and catch fire and/or those  
9 wildfire elements just for us to be able to do our job and  
10 keep this facility safe to where it doesn't become a  
11 problem for the public at large.

12 So those are my main concerns. I look forward to  
13 partnering with you. I do have my team here. I have two  
14 managers -- three throughout L.A. County here. And also my  
15 leading expert, Josh Costello. Josh Costello is the member  
16 that is on those committees and works with the state.

17 So I just wanted to bring my concerns from the  
18 Fire Marshal's perspective, really let you know what the  
19 significant hazards are for this community. I also wanted  
20 the community to understand we do know what those hazards  
21 are. And it is my job to protect on both sides. So I want  
22 to protect for my firefighters in that first response,  
23 early detection, keep things small, keep them stable, and  
24 also protect the community.

25 Thank you for your time. Any questions?

1                   COMMISSIONER GALLARDO: Yes, actually, thank you  
2 so much, Fire Marshal Stillwagon. I'm sure you're  
3 incredibly busy. And so you taking your time to be here  
4 with us to help provide your insight is really valuable.  
5 And also that you brought others who are experts also to  
6 speak with us is really nice to have.

7                   I do have a question for you. Given your  
8 emphasis on transparency and the items you listed out, is  
9 there anything that is keeping you up at night about this  
10 project in particular or, you know, the batteries in  
11 general? Because from what I understood from what you  
12 said, you are addressing other projects as well?

13                  MR. STILLWAGON: Correct. We have several  
14 projects going on throughout Los Angeles County. We have  
15 now moved into the inner city space, so we're not just out  
16 in the rural areas anymore. These projects are going into  
17 the density of the population. And serving a population  
18 with 10 million people, that's incredibly important.

19                  So now, no. Two years ago, yes. But we wanted  
20 to know in Los Angeles County in particular, what are the  
21 true hazards with battery technology with this new  
22 technology, the lithium-ion phosphate? And what it was is  
23 lithium-ion phosphate batteries produce a hydrogen gas and  
24 a carbon monoxide gas. Those are the two primary gases  
25 that come off the batteries. What we were concerned with

1 was explosions.

2           However, we were able to get the companies, the  
3 private industry, to start modeling those explosions, start  
4 doing the large-scale fire testing to where we could  
5 understand what is actually happening versus the shoulda,  
6 woulda, couldas. I don't like to regulate in an unknown  
7 space. If I know the hazard, we can regulate against that  
8 hazard and make sure that the community is safe.

9           One of the things we did here in Los Angeles  
10 County, we're the first in the nation, everybody else seems  
11 to be following suit, is we make sure that there is a blast  
12 wall that is built. This is a concrete-reinforced masonry  
13 wall that is designed to contain any blast on that  
14 facility, meaning it cannot endanger somebody walking by, a  
15 child riding a bike, a homeless person sleeping up against  
16 a wall. We want to make sure that the public is safe. The  
17 industry partnered with us in that and said, absolutely, we  
18 will do. The minimum wall height that we have is 10 feet  
19 to make sure that no shrapnel could go up and over and into  
20 harm's way also. So we wanted to make sure those walls  
21 were the height of and/or above the containers themselves.

22           The other item that we really pressed the  
23 industry for best practices was the deflagration vents that  
24 you pointed out earlier today, that when an incident  
25 happens, that when an explosion occurs, it goes vertical.

1 And if it has a relief valve, just like our propane tanks,  
2 it's not going to explode the cylinder, it's just going to  
3 relieve and let the fire come out the top. So that is a  
4 huge safety element. And then early gas detection to get a  
5 response coming immediately before those later stage events  
6 occur. We've also supported the ventilation systems within  
7 the containers.

8           So now that we know more, now that we understand,  
9 now that we're seeing the toxicity reports, we're actually  
10 seeing very, very low toxicity items. We believe on a fire  
11 service side that is because hydrogen burns at 1,700-plus  
12 degrees and is consuming all of the other chemicals in its  
13 burning process. So that is a huge benefit.

14           The smoke we are actually seeing, that carbon-  
15 producing side, is coming from the electrical components  
16 and the electrical wiring, those plastics, and not from the  
17 gases themselves. The gas of hydrogen is an invisible  
18 flame that you cannot see, you cannot smell, you cannot  
19 taste. So when we take that flame and we put it vertical  
20 and we put it straight up and it's out of harm's way, it's  
21 not going to now affect the neighboring container, then  
22 we're in a better place.

23           We searched nationally and worldwide and we found  
24 no containerized fires that spread throughout a field.  
25 They were always contained to their site of origin,

1 oftentimes to their container of origin, and where close  
2 groupings of containers were together, it stayed within  
3 that grouping. Here in Los Angeles County, we have a  
4 grouping of four. No more than four containers can be put  
5 next to each other because we don't want anything to go  
6 across the field of containers. We want to limit that  
7 exposure.

8           The other thing that the industry is doing very  
9 well is they are starting to containerize within the  
10 container to make sure that when a battery energy system  
11 starts to burn, it stays confined to one rack and doesn't  
12 spread across the other racks.

13           So we're seeing a lot of positive things. We are  
14 seeing the public safety element is now being met and is  
15 scientifically being met and not just guesses and  
16 assumptions. Here in L.A. County, we don't want to guess  
17 because people die with guesses. It is our commitment to  
18 the community to make sure we are going off a fact-based  
19 science and to ensure their safety and our firefighters'  
20 safety.

21           Does that answer your question, ma'am?

22           COMMISSIONER GALLARDO: Absolutely. Thank you.  
23 I do have one more for you.

24           So emphasizing safety, as we had mentioned  
25 earlier multiple times, safety is our priority as well. If

1 you're willing, would you be able to if something were to  
2 happen, if there were some issue with the proposed project,  
3 what does the response time look like? And like maybe you  
4 could share what would be the activities, like what would  
5 you all do if there's something that happens, whether it's  
6 a fire or anything else?

7 MR. STILLWAGON: Thank you for the question.  
8 That's a really good question. In this particular spot,  
9 it's really in the best location. There is a fire station.  
10 Fire station 80 is just around the corner. So an actual  
11 response time is probably 60 to 90 seconds. It is like  
12 that close.

13 COMMISSIONER GALLARDO: Okay.

14 MR. STILLWAGON: Not response time of the alarm,  
15 I'm saying once you're in the truck driving, you're  
16 literally across the street down a few hundred feet and  
17 around the corner. So it is right there. Water  
18 accessibility will be there.

19 But furthermore, we're going to have a full  
20 response to these types of incidents based on the size of  
21 the facility and the potential hazards. We will learn more  
22 as we go throughout the process.

23 We also have hazardous materials teams here  
24 staged on Highway 14, Fire Station 150 down the road here.  
25 So that's a benefit for this community in this area that

1 protects both the highway infrastructure and then all of  
2 our chemical infrastructure.

3           So we do have a robust response mechanism that is  
4 in place here in L.A. County. We do have operating  
5 facilities. I can say that the operating facility that we  
6 put into place last year, we haven't had one false alarm  
7 nor incident. So that has been up and running for over a  
8 year. It's a pretty sizable project down in South L.A. in  
9 the inner city community and we haven't had one issue. So  
10 that is very, very positive in this space and moving  
11 forward.

12           Does that answer your question with that?

13           COMMISSIONER GALLARDO: It does. Thank you so  
14 much. Again, really appreciate your sharing your  
15 experience, expertise, and also thank you for your service.

16           MR. STILLWAGON: One last thing I'll add, and I  
17 didn't hear it in the earlier presentation, one of the  
18 things L.A. County requests and actually demands is that  
19 the company does provide a comprehensive training program  
20 to all of our first responders for both battalions. This  
21 is going to be the desert side and the Santa Clarita side,  
22 so all first responders in the region know how to come and  
23 handle and mitigate these and also ongoing training. So  
24 it's not just a one time and gone. We want annual or every  
25 other year type of training to where we can always keep our

1 crews constantly refreshed for best practices.

2 COMMISSIONER GALLARDO: Okay.

3 MR. STILLWAGON: Thank you. Appreciate that.

4 MS. LAO: Is this on? Okay, it's on.

5 COMMISSIONER GALLARDO: Yes.

6 MS. LAO: Okay. Again, just a reminder that  
7 we're currently hearing from government entities first. So  
8 if you're a government agency or California Native American  
9 tribe and haven't yet raised your hand, please do so now.  
10 And if you're on Zoom, click on the raise-hand feature. It  
11 looks like an open palm on your screen. And if you're  
12 joining us by phone, please press star nine to raise your  
13 hand.

14 I see two hands raised. I see Carlos Torres.  
15 I'm going to unmute your line. You have to unmute on your  
16 end.

17 COMMISSIONER GALLARDO: Someone's asking if they  
18 need to submit a card?

19 MS. LAO: Yeah, for the general public comment,  
20 you submit a card and it's in the back. Yes. Thank you  
21 for asking.

22 COMMISSIONER GALLARDO: And since they're  
23 standing, there's also material in the back that we have  
24 about the certification program, about the proceeding, in  
25 case that would be helpful for you all.

1 MS. LAO: Okie-doke, Carlos Torres, I'm going to  
2 unmute your line. Please state your name for the record,  
3 and spelling if possible, and the agency that you're with.

4 MR. TORRES: Good afternoon. My name is Carlos  
5 Torres, and I am the Executive Director at Women in Non-  
6 Traditional Employment Roles, also known as WINTER.

7 MS. LAO: Okay, this moment is for government  
8 agencies, this public comment period.

9 MR. TORRES: Okay.

10 MS. LAO: For the general public comment, we'll  
11 start afterwards, so --

12 MR. TORRES: I will wait.

13 MS. LAO: Okay. Thank you.

14 Okay, I don't see any government agencies on  
15 Zoom, so we will open the floor to general public comment.  
16 And we are going to start with folks in the room. And if  
17 you're joining us in-person, please, again, if you haven't  
18 done so, please fill out the blue cards on the table in the  
19 back. And I'm going to be calling out your name, so please  
20 approach the podium, spell your name for the record.  
21 You're invited to also share affiliation and position on  
22 the project, if any, and then you may begin. We are asking  
23 for comments to be three minutes -- two minutes or less.  
24 And there will be a timer on the screen, and then you may  
25 begin.

1           June Perkins? Yeah. Mm-hmm. And next up after  
2 June is going to be Drew Mercy.

3           Yeah, just hold the button a few seconds.

4           MS. PERKINS: And thank you for being here today.  
5 It's really important for us in the Acton community. My  
6 name is June Perkins, J-U-N-E P-E-R-K-I-N-S. I'm an Acton  
7 resident since 2005. I am a member of the Acton Town  
8 Council, a member of the Agua Dulce Acton Senior Citizens  
9 Club, and a member of the Friends of Acton Library. I  
10 think that's enough.

11           There's things that I looked at to see what you  
12 had on the screen, I read it all, like the potential  
13 wildfire risk, because we are in a very high fire hazard  
14 severity zone. And also there's the hazards and hazardous  
15 materials and potential toxic exposure during a battery  
16 fire. We hope that never happens. And public health.

17           There's also potential evacuation during a  
18 battery fire incident, particularly those without secondary  
19 access. The last one was on climate change, greenhouse  
20 emissions, the known health and safety risks of lithium-ion  
21 batteries, including the LFP. And I thank Dr. Greenberg  
22 for really mentioning all those fields.

23           And my husband and I, we both have asthma when  
24 we came here. And I retired after 47 years being in the  
25 healthcare field. So if there needs to be a shelter-in-

1 place warning issued, the time duration is unknown. We  
2 don't know how long it's going to last and we'd stay  
3 indoors. Is there a safety factor with these chemical  
4 emissions, precautions, lifelong problem, effects on our  
5 animals as we are A1 and A2 zoning?

6 The evacuation of humans, livestock, pets, needed  
7 emergency supplies that we have to carry, and we're told --  
8 I've been through the certifications. We are senior  
9 citizens living on two miles of a bit narrow dirt road.  
10 Above all, you mentioned the transport, emergency vehicles,  
11 all traveling together at the same time.

12 Thank you so much. Appreciate it.

13 MS. LAO: Thank you.

14 And Drew Mercy, please spell your name for the  
15 record and any affiliation, if you have any. You may  
16 begin.

17 MR. MERCY: Thank you. Drew Mercy, D-R-E-W  
18 M-E-R-C-Y. I'm the Executive Director for the Antelope  
19 Valley Economic Development and Growth Enterprise. We're  
20 the regional EDO serving Northern Los Angeles County and  
21 Southeastern County.

22 AV EDGE is in support of this project. A big  
23 part of our needs in the future are grid stability.  
24 Without battery storage, we cannot grow economically and  
25 provide local jobs. Our community is home to 500,000

1 residents and of that 500,000, 100,000 commute mostly to  
2 L.A. and some of the worst commutes in the nation. Every  
3 job we can create up here is a green job because it gets  
4 people off of that freeway upwards of an hour and a half to  
5 two hours each way.

6 Prairie Song is a vital part of that economic  
7 design. Energy storage is vital to stabilizing our clean  
8 energy supply needed for infrastructure and future job  
9 growth. It makes sense to situate this project in  
10 connection with the Vincent Hill substation and in such  
11 close proximity to the fire station. This allows for the  
12 most efficient grid access without extraneous cost or  
13 environmental impact.

14 Coval Infrastructure has approached this the  
15 right way. Through community engagement and prioritizing  
16 safety, they are minimizing community impact in a rural  
17 community with a strong commitment to supporting Acton and  
18 the greater Antelope Valley region. They are ensuring  
19 local workers with the best available training are hired.

20 On behalf of the Antelope Valley Economic  
21 Development and Growth Enterprise, I respectfully ask for  
22 your support for this project.

23 MS. LAO: Thank you.

24 Next up is Katherine Sky Tucker, followed by  
25 Ruthie Brock, and then Stephen Brock. And please spell

1 your name for the record, state any affiliation if any, and  
2 you'll have two minutes, and the timer's on the screen.

3 MS. TUCKER: Hi there, I'm Catherine Sky Tucker,  
4 first name Catherine, K-A-T-H-E-R-I-N-E, middle name Sky,  
5 S-K-Y, last name Tucker. Thank you for letting us speak  
6 and to give you some of our viewpoints on this project.

7 I am a 24-year resident of Acton. I served eight  
8 years on the Acton Town Council to help preserve the area  
9 in accordance with the regulations of the Acton Community  
10 Standards District. I have a 12-acre ranch about one mile  
11 south of the Prairie Song Project. I raise Navajo churro  
12 sheep to help preserve the breed. This is my primary  
13 residence. I have no other property. My property's on a  
14 well.

15 We are located in a very high fire hazard zone.  
16 Wind-driven fires scare us to death, okay? Homeowner's  
17 insurance is already high or not attainable. This project  
18 would greatly increase the risk of fire and make it harder  
19 to retain homeowner's insurance.

20 If the project is built, I'm afraid I won't be  
21 able to sell my property. Who would want to buy property  
22 that is near a huge toxic fire hazard and eyesore? I'm  
23 sorry, LFP batteries do release HF also. If there is a  
24 runaway fire, I greatly fear for the adverse health effects  
25 from toxic smoke, which includes HF and adverse impact to

1 the Santa Clara Riverbed.

2           It is also difficult to evacuate livestock during  
3 a toxic fire event. We are located near the Santa -- we  
4 are located in the Santa Clara River significant ecological  
5 area. These areas are officially designated within L.A.  
6 County to preserve irreplaceable biological resources. One  
7 of the transmission line routes to Prairie Song goes  
8 through the SEA and the project is adjacent to the SEA. A  
9 runaway fire could easily spread to the SEA and destroy it.  
10 We don't have water to put out a fire if one occurs. Most  
11 people are on wells. They use hauled water or on AB  
12 Waterworks District 37.

13           The project would ruin the rural nature of the  
14 area. This is why people move to Acton for the rural  
15 lifestyle. BESS projects should be located away from human  
16 habitation, livestock and SEAs.

17           MS. LAO: Thank you for your comment.

18           Please spell your name and affiliation, please  
19 state it, and you have two minutes.

20           MS. BROCK: My name is Ruthie Brock, R-U-T-H-I-E  
21 B-R-O-C-K. I'm with Acton Takes Action. I had prepared  
22 comments and I heard so much, I had to respond.

23           Let's talk about the non-safety of LFP. We've  
24 talked about the safety, so let's talk about the dangers.  
25 LFP do release toxic chemicals when they burn. They might

1 react at 80 degrees C higher than an NMC, but they do react  
2 and when they burn and they vaporize the electrolyte within  
3 the battery, they are toxic. So let's be real about that.  
4 And they produce 50 percent hydrogen gases instead of 30  
5 percent that NMC produce.

6 Overcharging can degrade these batteries greatly.  
7 The SEI film and separator breaks down and you get a free  
8 exchange of ions and boom, you've got a problem.

9 Now, UL 9540 test standards test at 12 miles an  
10 hour. That is not real life in Acton. 12 miles an hour is  
11 exceeded every day in the east part of Acton. People laugh  
12 because it's so true,; right? These firefighters know.  
13 And that's the test standard is 12 miles per hour. So to  
14 take a UL certified battery, UL 9540 certified battery and  
15 say that it's going to be safe in Acton is just not going  
16 to fly. It won't.

17 Batteries also have a manufacturing -- they have  
18 quality control issues. The Marengo BESS in Chicago,  
19 Illinois had LG Chem batteries delivered and they started  
20 reacting during the testing and the commissioning basis.  
21 And the batteries went into thermal runaway and they  
22 contacted LG and said, hey, your batteries are bad. Well,  
23 let's send you some new ones. Well, guess what? The new  
24 ones got installed and they reacted too. LG Chem are UL  
25 certified batteries. Fun fact.

1           Okay, GL 167-C finally has an enforcement  
2 mechanism for reporting failures. Prior to that, EPRI was  
3 tracking the BESS failures and they even admit that they're  
4 underreported because there was no mechanism of enforcement  
5 for mandatory reporting. The declining BESS numbers  
6 therefore are not true.

7           And management systems can fail. Every battery  
8 is a potential point -- every cell is a potential point of  
9 failure and every battery system can also fail. If those  
10 systems fail, a perfect battery can then have an issue and  
11 go into thermal runaway and burn.

12           MS. LAO: Thank you for your comment.

13           MS. BROCK: And the 14th freeway would be shut  
14 down in an event.

15           MS. LAO: Next up, Stephen Brock followed by Ken  
16 Perkins. Please state your name for the record and you  
17 have two minutes or less.

18           MR. BROCK: Yeah, my name is Stephen Brock,  
19 S-T-E-P-H-E-N B-R-O-C-K. I'm a 34-year resident of Acton.  
20 I was a firefighter specialist for the Los Angeles County  
21 Fire Department for three years and in my last 10 years was  
22 with Hazmat.

23           I read the Prairie Song Project and there are  
24 240,000 gallon storage tanks and no municipal water supply.  
25 I do not believe that it's adequate to deal with this

1 battery container fire if only applying water to adjacent  
2 containers. All that water is going to go into our aquifer  
3 and animals cannot use it. And that's where people are  
4 (indiscernible).

5           So firefighters' water supply and that one and  
6 three quarter inch hand line following 125 gallon per  
7 minute will be adequate to cool containers adjacent to the  
8 burning container. If that container is 200 feet away, the  
9 incendiary quarter line will not reach that fire. Now, you  
10 can use a deck gun, but it's a thousand gallons a minute.  
11 And they'll be gone in no time and they don't have  
12 municipal water.

13           So, you know, and then putting 2,200 containers  
14 in this little town will ruin it.

15           Thank you.

16           MS. LAO: Thank you for your comment.

17           After Ken Perkins, we have Joe Sullivan. Please  
18 state your name for your record. And we're asking for  
19 comments to be two minutes or less.

20           MR. PERKINS: Hi, I'm Ken Perkins. I'm a  
21 longtime resident of Acton. And the reason we moved out  
22 here was because it was a very rural place and everything  
23 else.           And one thing that's very delicate here is

24 our water table. And I do know that if -- some batteries  
25 are -- you can't put them up with water and the lithium

1 batteries will burn under water for four days straight.  
2 And I'm just kind of worried that there was a battery  
3 problem, would our water be contaminated? And that's one  
4 of my main worries. And everything else, they seemed like  
5 they did their backup work on it.

6 Thank you.

7 MS. LAO: Thank you for your comment.

8 After Joe Sullivan, we'll have Jeffrey, and Jonah  
9 Henry. Hopefully I'm reading that correctly.

10 MR. SULLIVAN: Good afternoon, Commissioner  
11 Gallardo, panel and staff. My name's Joe, J-O-E, Sullivan,  
12 S-U-L-L-I-V-A-N. And I am speaking on behalf of the  
13 International Brotherhood of Electrical Workers Local 11,  
14 and the National Electrical Contractors Association of  
15 Greater Los Angeles. This represents approximately 350  
16 electrical contractors local that partner with in the  
17 neighborhood of 10,000 union electricians. And we too, our  
18 top priority is also safety. And we express our support  
19 for this project. We realize that the burden is, would you  
20 be willing to live next to this project? It's important to  
21 us because we have members that live in this community.

22 And I should add that at our training center, we  
23 have 140,000 square foot training center with 1,500  
24 students that go to the school there. And we have a  
25 microgrid and a significant battery energy storage

1 installation, which can power that school offline. And  
2 it's, you know, on campus next to the school.

3 Our contractors partner with the most highly  
4 skilled electricians, highly skilled and trained  
5 electricians, to build advanced electrical system. And  
6 this includes battery energy storage systems across Los  
7 Angeles County, which we do regularly. And I should add  
8 that L.A. County has the most stringent -- well, we build  
9 them across the nation, but L.A. County has the most  
10 stringent standards in the nation.

11 We have representatives, at least the National  
12 Electrical Contractor does, on every major code body in  
13 IBEW and NECA, train first responders and building  
14 engineers in safety. So we value this.

15 This project normally is important for resiliency  
16 and sustainability in creating, achieving the state's  
17 goals, it also creates high road local careers that pay  
18 family sustaining wages and benefits.

19 Furthermore, it creates apprenticeship  
20 opportunities. We have to bring new people into our school  
21 and we do outreach to organizations like WINTER, Anti-  
22 Recidivism Coalition. We have multiple outreach  
23 coordinators to make sure that we are representing this  
24 community properly. And our apprenticeship program, it's a  
25 five-year education at no cost where they come out skilled

1 and trained and move into the middle class.

2 And then lastly, I'd like to add that these  
3 projects, they create further economic opportunities in  
4 that we can't keep building solar if we're going to curtail  
5 it. We can't add EV charging onto the grid. We can't  
6 decarbonize without battery energy storage. So this is one  
7 domino that leads to economic advancement above and beyond  
8 it.

9 Thank you.

10 MS. LAO: Thank you for your comment.

11 Jeff Bree? Thank you.

12 MR. BREE: Good afternoon, my name is Jeff Bree.  
13 I'm a 22-year member with the Ironworkers Local 433.

14 We strongly urge the California Energy Commission  
15 to move forward with full approval of Prairie Song  
16 Reliability Project. Because of the powerful project labor  
17 agreement, this project will be built by Antelope Valley  
18 and Santa Clarita Valley residents, veterans, apprentices,  
19 and folks who may need a second shot at life. These  
20 projects are vital to helping easing traffic, cleansing our  
21 air, creating local jobs, and keeping members closer to the  
22 home when they go to work.

23 Our members are the best skilled and trained  
24 workforce in the country who have passed their rigorous  
25 apprenticeship. Prairie Song Reliability -- excuse me --

1 Reliability Project extensions will be built the way they  
2 should be, not just by the best skilled and trained workers  
3 in the country, but by the people who live in the  
4 community. This agreement is a game changer, not just for  
5 our members, but for the residents of the two valleys.

6 Thank you for your support and let's get  
7 building.

8 MS. LAO: Thank you for your comment.

9 Next, we have Jonah Henry, followed by Russ  
10 Fawkes, hope I'm not mispronouncing your name, and then  
11 Wayne Wilson.

12 Can you please spell your name for the record?  
13 And then you'll have two minutes or less.

14 MR. HENRY: Good evening. My name is Jonah  
15 Henry, J-O-N-A-H H-E-N-R-Y. I'm a resident of the City of  
16 Los Angeles in Jefferson Park, and I'm a volunteer  
17 organizer with Sunrise Movement Los Angeles. We are a  
18 youth-led activist organization that is fighting to stop  
19 the climate crisis and create new means of good paying  
20 American jobs in the process.

21 I'm here in support of this project. It is  
22 difficult for me to put into words the positive effect that  
23 a facility of this size would have on the renewable energy  
24 transition in Southern California.

25 I can say personally, as someone who has been

1 tracking energy issues in Southern California for the past  
2 few years and cares really deeply about this, I literally  
3 almost sobbed when I saw the application for this project.  
4 I was so relieved and so happy that a facility of this  
5 size, 9,200 megawatt hours of lithium-ion battery storage,  
6 could potentially be coming to Los Angeles County.

7           This is so transformative. Like, these are the  
8 sorts of facilities that allow us to close down the  
9 polluting methane-fired power plants that are releasing  
10 toxic emissions into low-income communities, communities of  
11 color, and destroying our planet. And it is difficult for  
12 me as a young person to imagine a future where we have a  
13 livable planet if government agencies are not approving  
14 projects like this.

15           I think the comment that I wanted to deliver  
16 today is not so much addressed to the CEC, but more so  
17 addressed to the residents of Acton. I have not lived in  
18 Acton before. You know, today, I freely admit today coming  
19 here to give this public comment. It's my first time ever  
20 coming to Acton. I am not immersed in the community. I  
21 don't understand what the community's perspective is on  
22 industrial development, what the community's perspective is  
23 on climate change. I don't understand the nuances of the  
24 reasons that some residents of Acton might be opposed to  
25 this project.

1           But if there's one comment I could deliver that I  
2 think would be like respectful, given that lack of  
3 knowledge, is I would really encourage you all to consider  
4 like the future generations of the Antelope Valley, of the  
5 County of Los Angeles, and not just the impacts that this  
6 would have on existing residents. Wildfire risk, I think  
7 we can all agree, is the greatest threat to Acton's safety.  
8 And we know that climate change is the single greatest  
9 contributing factor to wildfire. And so solving the  
10 climate crisis requires approving facilities like these.

11           Thank you for considering my comment.

12           MS. LAO: Thank you for your comment.

13           Next up, we have Russ Fawkes. Please spell your  
14 name for the record. And we're asking for comments to be  
15 managed two minutes or less.

16           MR. FAWKES: My name is Russ, R-U-S-S, Fawkes, F  
17 as in Frank, -A-W-K-E-S. I'm a longtime Acton resident  
18 with a wife, children, and grandchildren who are all  
19 potentially negatively impacted by the Prairie Song BESS.  
20 I am vehemently opposed to this project.

21           The shortcomings and disastrous potential of the  
22 Prairie Song BESS have been vigorously defined and exposed  
23 by Save Our Rural Town and others. The California Energy  
24 Commission project docket contains far more damning  
25 evidence than can be shared verbally today. Read it.

1 I need you to understand that in our high fire  
2 area, I'm very concerned about thermal runaway and  
3 devastating wildfires. We've already been excluded from  
4 regular fire insurance and are left with the market of last  
5 resort, a FAIR plan with their inferior coverages.

6 I worry about air and water pollution. I worry  
7 about the impact of property values and the loss of our  
8 rural lifestyle. All these disastrous consequences loom  
9 and from a resident's perspective, there are no positives.

10 The safeguards proposed are dubious at best. The  
11 threats to our community are real and confirmed in expert  
12 testimony. Please take the written and verbal comments of  
13 our residents to heart and deny this application.

14 Thank you.

15 MS. LAO: Next up, we have Wayne Wilson. Please  
16 state your name for the record. We're asking for comments  
17 to be two minutes or less.

18 MR. WILSON: Thank you. My name is Wayne Wilson.  
19 I've lived in my Acton home for 32 years and I may soon  
20 have a gigantic lithium-ion BESS facility 30 yards from my  
21 home.

22 We love our semi-rural lifestyle here. And  
23 Noemi, I really appreciate you recognizing the beauty of  
24 it. We want to keep it beautiful, not industrial. That's  
25 really important to us too. Acton is beautiful. It's

1 supposed to be protected by L.A. County zoning laws. We're  
2 supposed to be A1 and A2. This thing shouldn't even be  
3 allowed. I don't know how that's happening.

4 But in addition, we are a high wind, high fire  
5 risk area and we know that these lithium-ion batteries are  
6 prone to catching fire. It does happen in a way that's  
7 very difficult to extinguish. These fires do put out toxic  
8 chemicals into the air when they burn. That's a great  
9 concern to us.

10 Forty years. I've just heard today, 40 years  
11 these things are going to last. And this technology is  
12 already out of date. I know everybody's trying to do it,  
13 but then talk to Bill Gates about power and energy. He's  
14 the guy I talk to these days. Small nuclear reactors,  
15 that's the way it's going to go.

16 So this site around Soledad Canyon Road is right  
17 next door to homes and an RV park. And two weeks ago, we  
18 had a wind that was so strong, it tore branches from the  
19 trees, knocked down fences, including ours, uprooted a  
20 telephone pole on the very property we're talking about for  
21 this BESS project. It fell down. We had to call it in.  
22 Imagine a toxic chemical battery fire in wind like that.

23 I need to mention as well that this battery  
24 storage site will sit in the very center of a very narrow  
25 corridor that connects the Antelope Valley and the high

1 desert communities to L.A. It's a half mile, a half mile.  
2 You have four transportation avenues within that half mile.  
3 The railroad, Soledad Canyon Road, where I live, the 14  
4 Freeway and Sierra Highway are all within that half mile.  
5 And this project sits right in the center of it. So  
6 Ruthie, yeah, it's not only going to close down the  
7 freeway, it's going to close down all of those streets and  
8 the railroads probably. So all that's going to be a  
9 disaster.

10 So the potential for serious impact on our  
11 community is huge and it's just ugly. We're not an  
12 industrial place. We're a wonderful, beautiful rural area  
13 and this doesn't belong here, so --

14 MS. LAO: Thank you for your comment.

15 MR. WILSON: Oh, I'm done. Thanks.

16 MS. LAO: I have Dawn Deans, followed by Roland  
17 Gutierrez, and Kelly Tent. I hope I'm pronouncing that  
18 correctly. Oh, Teno, oh, there we go. Thank you.

19 Dawn Deans. Please spell your name for the  
20 record. And we're asking for comments to be two minutes or  
21 less.

22 MS. DEANS: My name is Dawn Deans.

23 MS. LAO: You have to look --

24 MS. DEANS: Here?

25 MS. LAO: Yeah, so they can hear it on Zoom.

1 MS. DEANS: Okay. D-A-W-N D-E-A-N-S. We live at  
2 32434 Michigan Avenue, Acton, and strongly oppose the  
3 installation of the Prairie Song BESS Project in our small  
4 community of Acton for the following reasons.

5 Very high fire risk zone. Acton is a high fire  
6 risk area and experiences excessive heat and high winds.  
7 This project will further increase that fire risk as has  
8 been documented by actual fires of the other BESS projects  
9 in lithium-ion batteries.

10 Negative public health effects. There will be  
11 adverse health effects to Acton residents that has been  
12 documented that these chemical fires smolder and burn for  
13 days resulting in the release of toxic smoke and hazardous  
14 chemicals into the city of Acton and other surrounding  
15 heavily populated areas.

16 Negative impact to homeowners insurance costs.  
17 We currently pay \$6,300 per year for homeowners insurance  
18 with a \$28,950 deductible which will increase if this  
19 project is completed due to its volatility.

20 Negative impact to groundwater in nearby Palmdale  
21 Lake and State Water Project, or as some refer to as the  
22 Aqueduct. Many in Acton rely on wells as their water  
23 source and toxins released will seep into groundwater  
24 sources.

25 In addition, high winds will carry toxins to the

1 nearby State Water Project, a drinking water source for  
2 many up and down the state of California, and Palmdale  
3 Lake, a drinking water source for the entire east side of  
4 Palmdale. These water sources will become contaminated  
5 with these toxins and become unusable drinking water  
6 sources.

7 In closing, we don't feel the owners of this  
8 project have adequately addressed mitigating even a handful  
9 of the negative impacts of this project, most likely  
10 because there is simply no way to mitigate all of them. We  
11 recommend this project be moved to a remote area where  
12 there will be no impacts to the lives of humans and animals  
13 alike.

14 As a 10-year Acton residence, we will continue to  
15 band together with other Acton residents and oppose and  
16 fight the installation of any BESS project in our quiet  
17 rural community.

18 Thank you. And I have a written record if I need  
19 to drop it off. Do you want the written copy to be  
20 included in the record?

21 COMMISSIONER GALLARDO: We done need it, but if  
22 you want to leave it with us, we will accept it.

23 MS. LAO: Next up is Roland Gutierrez, then Kelly  
24 Teno, hope that pronounced it right this time, and then  
25 Laney Clevenger-White.

1           And we're asking to please spell your name for  
2 the record and you have two minutes or less.

3           MR. GUTIERREZ: Thank you. Good afternoon. My  
4 name is Roland Gutierrez, G-U-T-I-E-R-R-E-Z. I am a 20-  
5 year member of Sprinkler Fitters U.A. Local 709 here in Los  
6 Angeles.

7           On behalf of Local 709 and the LA/OC Building  
8 Trades Council, we strongly urge the California Energy  
9 Commission to move forward with full approval of the  
10 Prairie Song Reliability Project. Our apprenticeship  
11 program that we have at Local 709 is currently training  
12 approximately 200 apprentices and they need this on-the-job  
13 experience to continue their education. This PLA will  
14 allow those that live in the two valleys here in Santa  
15 Clarita and Antelope Valley to work close from home instead  
16 of having to commute into Los Angeles.

17           Our fitters are the best-skilled and trained  
18 workforce in the country and we -- who have passed their  
19 rigorous apprenticeship programs to get to the journeyman  
20 card. All of our Sprinkler Feeders in U.A. Local 709 carry  
21 the state-required CAL FIRE installation certification  
22 card.

23           The fire suppression systems that we install from  
24 residential to commercial don't use just water. We also  
25 install specialty systems designed for specific hazards,

1 like the Prairie Song Project. We work with our trading  
2 partners to be on the cutting edge of the fire suppression  
3 industry. We have a long-standing relationship with L.A.  
4 City, L.A. County, and the State Fire Marshal to ensure  
5 that what we install not only benefits a specific project  
6 and first responders but also the community at large.

7 The Prairie Song Reliability Project will be  
8 built by skilled and trained fitters, construction workers  
9 from the Santa Clarita and Antelope Valley communities and  
10 we urge you to approve the project.

11 Thank you very much.

12 MS. LAO: Thank you for your comment.

13 Next up we have Kelly Teno. Please spell your  
14 name for the record.

15 MS. TENO: Hello. My name is Kelly, K-E-L-L-Y,  
16 Teno, T-E-N-O, and I'm a 34-year resident of Acton and a  
17 10-year member of the Acton Town Council.

18 I oppose the Prairie Song BESS Project in Acton.  
19 This project is massive and will cover close to 103 acres,  
20 close to many homes. This will cause significant visual  
21 issues for all of Acton. It will be seen from the 14  
22 Freeway and is near two scenic drives.

23 Fires involving LFP batteries are not easy to  
24 extinguish and will release toxic gas. This could be a  
25 significant issue for all of Acton if we are, especially if

1 we are having a high wind event which happens very often.  
2 The toxic gases could spread over Acton.

3 Acton is a community with lots of animals which  
4 include horses, goats, chickens, and many animal rescues.  
5 Not all have the means to evacuate their animals. This  
6 could also be an impact because most of the roads out of  
7 Acton are two-lane roads or the 14 Freeway which could be  
8 closed.

9 I feel that green energy goals should be met  
10 without sacrificing public safety. These are all things  
11 that need to be properly mitigated by placing this and  
12 other LFP battery projects away from communities like Acton  
13 and away from people.

14 In closing, the Acton Town Council would greatly  
15 appreciate the opportunity to meet with Chair Hochschild, I  
16 hope I pronounced it correctly, when he visits Acton.

17 Thank you very much.

18 MS. LAO: Thank you for your comment.

19 Next up we have Laney Clevenger-White, and then  
20 followed by Christina Weyer (phonetic), I'm hoping I'm  
21 pronouncing that right, and then Doug Bayer.

22 Please spell your name for the record.

23 MS. CLEVENGER-WHITE: My name is Laney, L-A-N-E-  
24 Y, Clevenger, C-L-E-V-E-N-G-E-R, and sometimes White,  
25 W-H-I-T-E. I've lived in Acton since 2019 and I moved from

1 the Valley and I love my town. I love this town. We all  
2 know what it is because we live here. So I just want to  
3 touch a little bit on the character of the people that live  
4 here and what they do.

5 We've got Tammie Necessary and the Acton Illegal  
6 Dumping Task Force. These people, and they're not young-  
7 young, people go out and they climb the canyons and bring  
8 up everybody else's crap that they throw over into the  
9 canyon. They clean up the streets. They clean up the  
10 roads. And they do that because they love our town.

11 Then I'm going to speak for the Acton Women's  
12 Club. It's a longtime organization and we generously  
13 support the community with scholarships and other community  
14 needs through the Acton Women's Resale Shop. And they not  
15 only provide quality merchandise donated by the local  
16 people but it provides a place for people to come. I've  
17 often heard that they come there for therapy. We hear lots  
18 of intimate stories.

19 And then we're all blessed to have Ruthie Brock  
20 and Jacki Ayers and the Town Council. If there's anything  
21 that needs to be taken care of to protect our town, they're  
22 the people that are on top of it. They do that because  
23 they love our town and they love the people in the town.

24 Acton is a gem. It's a very special place. And  
25 I think I can safely say that we all want to keep it that

1 way.

2           So now, Prairie Song. Prairie Song is a song of  
3 fear and greed. Prairie Song is a song of potential  
4 danger. The lithium-ion batteries have a good track record  
5 all over the world, a track record of fires cannot  
6 extinguish quickly. Batteries, small batteries, large  
7 batteries, small fires becoming big fires, large fires  
8 becoming even larger, more dangerous fires and potentially  
9 destroying everything in its path.

10           MS. LAO: Thank you for your comment.

11           MS. CLEVINGER-WHITE: Oh, shoot. I have good  
12 things to say. I'm just going to say, Prairie Song is a  
13 song we choose not to sing.

14           MS. LAO: Next up we have Christina Weyer. Hope  
15 I'm pronouncing that right. Is it Meyer, Christina Meyer?  
16 I don't see any Christina. Okay, we'll come back to her.

17           We have Doug Bayer next. Please spell your name  
18 for your record and we're asking for comments to be two  
19 minutes or less.

20           MR. BAYER: My name is Doug Bayer, that's  
21 D-O-U-G B-A-Y-E-R. And I have lived in Acton for 33 years.

22           I was a Los Angeles City firefighter for 35 and a  
23 half. I held the rank of engineer for 28 of those years.  
24 My primary responsibility as engineer was to drive the fire  
25 engine and pump water out of fire. So I guess you could

1 say I have a little bit of experience in pumping water and  
2 lighting fires.

3 I have some serious reservations about putting a  
4 BESS at that location or actually anywhere in Acton. The  
5 way I understand the proposed plan for mitigation of a BESS  
6 fire is to stay back 300 feet and cool the surrounding  
7 containers using a one and three quarter inch handheld hose  
8 line with a smooth bore nozzle. There is zero chance of a  
9 one and three quarter inch handheld hose line making it 300  
10 feet.

11 The only option would be to use a wagon battery.  
12 That's a deck gun that's mounted to the top of a fire  
13 engine. That uses a thousand gallons a minute. Those  
14 eight gallons 80,000 gallons of water that you have stored  
15 on site will be gone in 80 minutes and these fires last way  
16 longer than 80 minutes.

17 Now, I know L.A. County has water tenders that  
18 they can dispatch, but the water tender shows up and it's  
19 out of water in three minutes. It turns around and goes to  
20 a fire hydrant somewhere and it's going to be back in about  
21 30 minutes to use its three minutes of water again.

22 So, also, because there's no way that you can  
23 only cool off the surrounding containers because you're  
24 squirting your water so far, the groundwater is going to  
25 get contaminated. And then we're going to have another

1 Erin Brockovich's Hinkley, Aaron Acton.

2 So please put this somewhere in the desert where  
3 it won't affect the people, the livestock, the freeway and  
4 the train.

5 Thank you.

6 MS. LAO: Next up we have to Susan Bayer, Susan  
7 Bayer, and followed by Patricia, apologies if I'm  
8 mispronouncing it, Akkad.

9 Please spell your name for the record. We're  
10 asking for comments to be two minutes or less.

11 MS. BAYER: Sure, it's Susan Bayer, S-U-S-A-N  
12 B-A-Y-E-R, and I'm a 33 year resident of Acton. I raised  
13 two children here and they are raising my five  
14 grandchildren here in Acton. And I have many concerns  
15 about having a BESS in our town.

16 My primary concern are the toxins, like everybody  
17 else here, that will be released into the air and the  
18 groundwater. Whether you're on a well, which most of the  
19 people here in Acton are, or on county water, our water  
20 will be poisoned by the gases during a BESS fire.

21 Our community is made up of young families,  
22 elderly, retired people, ranch, livestock animals as you've  
23 heard that are all housed outside. You would be putting  
24 our community at a great risk in creating many another  
25 Hinkley or the latest Moss Landing event where there were

1 toxins released into the air from the batteries and the  
2 water.

3 Having this risk will not only impact our air and  
4 water but also greatly impact our housing market along with  
5 further impacting our ability to acquire fire insurance in  
6 an already severe high fire risk area. Many homeowners  
7 either are paying close to \$20,000 a year or have opted to  
8 not even have fire insurance.

9 Having a BESS is a risk in our community with no  
10 benefits. We have no benefits that outweigh our risk.  
11 That will not be -- we will not be getting an extra four  
12 hours of electricity if the power goes out. Vincent  
13 Substation does not provide electricity for Acton.

14 With that said, Acton's not the right community  
15 for a BESS. There has to be a better place that's not  
16 close to a community or an extreme high fire hazard  
17 location.

18 Thanks for taking the time and listening to our  
19 concerns.

20 MS. LAO: Next up, we have Patricia Akkad, I  
21 guess, yeah, apologies if I'm mispronouncing it, followed  
22 by Helix Gautamus. I'm going to say apologies if I'm  
23 mispronouncing it. Patricia, please spell your --

24 MS. AKKAD: I'm Patty Akkad to everybody here,  
25 P-A-T-T-Y A-K-K-A-D.

1           I think these BESS facilities are the thing of  
2 the future. Just definitely, please, not for Acton.

3           I have a graph here that tells the different  
4 countries. Almost every country in the world has BESS  
5 facilities. Who's the biggest one? China. Well, who's  
6 the second? U.S. And we're trying to catch up to China.  
7 But please, please, don't bring it to our rural area.

8 Please build it out in the millions of acres that are in  
9 the desert that are not going to be occupied by people or  
10 animals or anything. We have millions of acres, I'm sure,  
11 between California, Nevada, and Arizona to have many, many  
12 BESS facilities.

13           I'm a 40-year Acton resident. I have  
14 participated in several fires where I was helping  
15 evacuations with horses, families, and children. It's of  
16 deepest concern to all of us, not to mention our fire  
17 insurance and all the logistics of that. But it's just so  
18 dangerous.

19           Now, I have traveled in England. I used to live  
20 there. I saw a BESS facility next to the train tracks out  
21 in the middle of nowhere. I saw in Spain, near Seville,  
22 between Malaga and Seville, a big BESS facility. Spain is  
23 second only to England in Europe. But it was out in the  
24 middle of a rocky area. No houses will be built there. No  
25 animals will be raised there. Even in Lebanon, they have

1 one. And it's in the Beqaa Valley. It's not anywhere near  
2 homes or agriculture.

3 So I'm begging you to, please, build your BESS  
4 facilities but please not here. Not in Acton.

5 MS. LAO: Next up, we have Myllex Guadamuz,  
6 followed by Nancy Saldez (phonetic).

7 And please spell your name for the record.

8 MR. GUADAMUZ: I'll be speaking on behalf of the  
9 next four people because we're from the same organization.  
10 And I wanted to be respectful of the instructions where it  
11 says one person per organization. So I'll be speaking on  
12 behalf of mine.

13 MS. LAO: Okay. Thank you.

14 MR. GUADAMUZ: So my name is Myllex Guadamuz,  
15 spelled M-Y-L-L-E-X G-U-A-D-A-M-U-Z. And on behalf of the  
16 Apprenticeship Readiness Fund, the nonprofit arm of the  
17 LA/OC Building Treats Council, we're urging you to approve  
18 this project.

19 Inclusive progress means ensuring that the major  
20 energy investments are community-driven and provide board-  
21 based benefits. With \$7 million-plus reserved for local  
22 community benefit programs, this project ensures that  
23 regional development is equitable and resilient. This  
24 investment supports job creation, economic development, and  
25 energy resilience for the entire Antelope Island region.

1 Infrastructure should not -- should do more than just power  
2 the grid. It should uplift the people who live and work in  
3 the surrounding areas.

4           The Apprenticeship Readiness Fund is dedicated to  
5 providing equitable access to high-quality union level  
6 careers in building trades. This project directly advances  
7 that mission by supporting 200 training programs for women  
8 entering the union building and construction trades. These  
9 working investments -- these workforce investments create  
10 long-term, life-changing career pathways for individuals  
11 throughout our regional workforce.

12           Supporting infrastructure of this scale and  
13 magnitude ensures a steady pipeline of work for those  
14 entering our apprenticeship programs. And I can speak on  
15 behalf of my union brothers here that are here today, that  
16 there is nothing more rewarding than seeing an individual  
17 that came from a justice impacted background, that came  
18 from a homeless background, that was a drug addict, walking  
19 them through the process of giving them a second chance to  
20 kickstart their careers in the union trades. Nothing comes  
21 to seeing that process develop to where now they're making  
22 a lot more money and we're paving the way to the new  
23 generation of union workers.

24           So I urge you to recognize the value of this  
25 project, that this project brings to workforce development

1 and the regional economic equity. Thank you so much.

2 MS. LAO: Thank you. Next the next four are from  
3 the same organization; correct? Okay. Just wanted to be  
4 sure.

5 So next up we have Tommy Faavae. Sorry. I'm  
6 trying to read handwriting over here. Please state your  
7 name for the record and you have two minutes or less.

8 MR. FAAVAE: Yeah, thank you. My name is Tommy  
9 Faavae, T-O-M-M-Y, Faavae, F, as in Frank, -A-A-V, as in  
10 Victor, -A-E. I'm here representing International  
11 Brotherhood of Electrical Workers, Local Union 11. And we  
12 have some of our members that's here today. But I wanted  
13 all of our members in the Building Trades Council, our  
14 members of the IBEW and our Apprenticeship Readiness  
15 Program, to stand. Because this is what it means to us  
16 when it comes to, you know, ensuring that we uplift our  
17 apprentices, we uplift our pre-apprentices that are coming  
18 to trade, and then our journeymen that can work on these  
19 BESS projects.

20 I can tell you two things, that when it comes to  
21 IBEW, we, you know, we are set on the pathway of making  
22 sure that these BESS projects are safely, professionally  
23 installed. And we represent the electrical workers on the  
24 construction side, but we also represent our utility  
25 workers that are on the high voltage side.

1           So two things to think about when it comes to  
2 California state law. There's high voltage standards that  
3 are in place for our utility workers. Once when we install  
4 these type of systems, we pass it on to our utility workers  
5 that tie in to interconnect and gen-tie of these  
6 distribution lines. That's our utility workers. And they  
7 go off a high voltage standards that is state law. For us,  
8 for electrical workers, there's state law, there's NFPA 70-  
9 A, 70-B, C, our NEC Code of 855. We practice that every  
10 day through our apprenticeship curriculum and our  
11 journeyman skilled -- that are skilled and trained to work  
12 on these facilities.

13           So we urge the Commission. Thank you for coming  
14 out, Commissioner Gallardo and the CEC staff, for hearing  
15 us today. I know this is first meeting and we're going to  
16 have many more meetings to come. But we look forward to --  
17 for you to, you know, support this project, the Prairie  
18 Song Reliability Project.

19           Thank you.

20           MS. LAO: Next, we have Larry Sanderson, followed  
21 by Mylessa Nickelson.

22           Please state your name for the record. We're  
23 asking for comments to be two minutes or less.

24           MR. SANDERSON: My name is Larry Sanderson,  
25 L-A-R-R-Y S-A-N-D-E-R-S-O-N.

1 I just wanted to, as a longtime resident of  
2 Acton, 36 years, I'd like to oppose this project. A lot of  
3 what has already been said, the risk of the fire, the  
4 threat to the Santa Clarita water, as well as water quality  
5 in the Santa Clarita Valley, because this will pour right  
6 directly into it. It's not 50 feet away.

7 So the infrastructure in Acton, we've already  
8 discussed that. We don't have access to many roads. The  
9 14 Freeway, the railroad will be closed. There will be no  
10 access at all. Environmental impacts are obvious. And the  
11 economic hardship, which I will impose myself greatly, is  
12 because I live 50 feet behind Fire Station 80. So I'm 127  
13 milliseconds away -- or 120 seconds away.

14 That's all that I have. Thank you.

15 MS. LAO: Mylessa Nickelson. Did I pronounce it  
16 okay?

17 MS. NICKELSON: Yeah.

18 MS. LAO: Okay.

19 MS. NICKELSON: That's good enough.

20 MS. LAO: Okay.

21 MS. NICKELSON: I really don't need this  
22 microphone, but I'm going to use it anyway, because I got a  
23 real good message for you, IBEW folks. I am a Local 11  
24 signatory. I don't want this thing here and I'm going to  
25 tell you why.

1 I asked Mr. Garrett how long it's going to take  
2 to construct. Two years. Six months of that is going to  
3 be commissioning. So that's Local 11 and other union  
4 members working for a year and a half. After that, eight  
5 people. You are sacrificing our safety for the jobs of  
6 eight people for 40 years. That's how much economic impact  
7 it's going to bring.

8 So don't be fooled by the red herring about,  
9 well, we're going to bring jobs. No, you're not going to  
10 bring jobs.

11 I'd like to talk to you. You don't know our  
12 community. You haven't lived here during the fires. You  
13 have no idea the smoke that all goes up into the air that  
14 you say you don't want us to breathe. We don't need it  
15 here. Stick it out of Mojave. I go to Tehachapi every now  
16 and then. There is nothing out there. There isn't even  
17 junipers out there. Our junipers are filled with oil and  
18 they burn like matchsticks.

19 I'm willing to bet my ranch that none of you has  
20 evacuated a horse during a fire emergency. And yet I have  
21 over two dozen in the 46 years that I have lived in Los  
22 Angeles County. Not only my own, but other people's. When  
23 the fire hits, all of us horse people start going. And I'm  
24 sure you can imagine the horses are panicking. The humans  
25 are panicking. The paint is melting off the trucks. The

1 tires are starting to melt to the ground. But we're okay  
2 with that. Do you want to know why? Because CHP will not  
3 let us in to get those animals or get our sick friends or  
4 get anything else once that fire starts. Sometimes the  
5 sheriff's will let us in, but CHP won't. So if you're not  
6 on site when that thing starts, you are SOL and your  
7 animals are done for.

8 And the last thing I want to say, with all due  
9 respect to our wonderful fire community, I wave hi to you  
10 all the time, Altadena, Altadena. They had the same L.A.  
11 County Fire Department that we have. Altadena.

12 MS. LAO: Next up, we have Jacqueline Ayer,  
13 followed by Anne Williams. Oh, yeah, the first one is  
14 Jacqueline Ayer.

15 MS. AYER: Okay. Thank you. Don't call me late  
16 for dinner.

17 MS. LAO: Can you please spell your name for the  
18 record?

19 MS. AYER: Yes, J-A-C-Q-U-E-L-I-N-E A-Y-E-R.  
20 Thank you for this opportunity.

21 I have heard a lot of people say that this is a  
22 necessary project, it's essential for the state of  
23 California. Maybe that's true. But what isn't essential  
24 is that it be placed in your homes or in Acton. The  
25 placement of this project in Acton is not a necessity. It

1 is a convenience for the developer.

2           So I am speaking today as the director of Save  
3 Our Rural Town. I have a bachelor's degree in physics from  
4 Vassar College and a master's degree in mechanical  
5 engineering from Berkeley. I have more than 40 years of  
6 air quality and environmental compliance consulting  
7 experience. And I have particularly concentrated on air  
8 pollution emission quantification, control, and risk  
9 assessments.

10           I have managed pollution control and assessment  
11 projects on behalf of the EPA, the DOD, the California  
12 Energy Commission, and private industries. Over the last  
13 20 years, I have participated extensively in electrical  
14 infrastructure siting applications and development  
15 projects. And I've provided expert witness testimony to  
16 the PUC, the FERC, the Commission, and the Public Utilities  
17 Commission.

18           Accordingly, the information that I provide today  
19 on behalf of SORT in this proceeding is considered  
20 substantial evidence as that term is defined in CEQA.

21           I have conducted a detailed analysis of the risk  
22 assessment that the developer submitted to the Commission  
23 last Friday and found that the emissions rates claimed for  
24 the number of -- for a number of the toxic compounds are  
25 not supported by substantial evidence. And as such, the

1 Commission cannot rely on the developer's risk assessment  
2 to draw any conclusions regarding the public safety impacts  
3 of the BESS project.

4           For instance, the risk assessment assumes that  
5 the total hydrogen fluoride emissions emitted from an  
6 entire deflagration event is only 38.7 pounds, however --  
7 and the hourly emission is only 1.4. This is nearly 20  
8 times less than what published literature states will be  
9 present. This means that the hazard quotient is not 0.6,  
10 as the developer stated. It's actually almost 20 times  
11 higher, and it is a significant impact. Actually, with  
12 this single deflagration event of this for a Sungrow BESS  
13 will result in 662 pounds of HF and about 38 pounds an  
14 hour.

15           MS. LAO: Thank you for your comment.

16           MS. AYER: Thank you.

17           MS. LAO: Next up, we have Anne Williams. Please  
18 spell your name for the record.

19           MS. WILLIAMS: Hi. My name is Anne Williams,  
20 spelled A-N-N-E W-I-L-L-I-A-m-S. I live on Michigan Avenue  
21 in Acton and strongly oppose the installation of the  
22 Prairie Song BESS project in our small community of Acton  
23 for the following reasons. Of course, these reasons have  
24 been reiterated by everyone, but I will stress them again.

25           The very high fire hazard severity zone. Acton

1 is a high fire risk area and experiences excessive heat and  
2 high winds resulting in power shutoffs from Edison. This  
3 project will increase that fire risk even more, as has been  
4 documented by actual fires of other BESS projects and  
5 lithium-ion batteries.

6 The negative impact to our home values. The  
7 project's located very close to homes and has negatively  
8 impacted our home values and the ability to even sell some  
9 homes. Who's going to reimburse us for that?

10 Negative impact to homeowners insurance. Our  
11 homeowners insurance was canceled or we'd have to pay  
12 approximately \$20,000. And so we had to go to the  
13 California FAIR or unfair plan, whatever you want to call  
14 it, for our homeowners insurance and will surely face an  
15 increase cost due to this project.

16 There's nowhere safely to evacuate, as it's been  
17 mentioned. We have Soledad Canyon, Sierra Highway, the 14  
18 Freeway. If there's an evacuation due to this project,  
19 high winds in the area will carry toxic substances to  
20 nearby Palmdale, Antelope Valley, Agua Dulce, and the  
21 entire Santa Clarita Valley. How will we even evacuate?  
22 Especially with all the livestock that we have enacted.

23 My nephew has a pig farm with a hundred pigs, and  
24 also does 4-H and has several animals and helps the kids  
25 learn the feet 4-H and they do different, you know, fairs

1 and stuff. There's no way he could evacuate all those  
2 animals.

3 The excessive noise to surrounding homes.

4 MS. LAO: Thank you for your comment.

5 MS. WILLIAMS: Oh wow, that was fast.

6 MR. LANCASTER: And we have seats up here in the  
7 front for those folks who is coming in if they would like  
8 to take a seat.

9 Next up, we have Michael Goodnight, followed by  
10 Laura Wilson.

11 And please spell your name for the record, and  
12 you have two minutes or less.

13 MR. GOODNIGHT: Mike Goodnight. I've lived in  
14 Acton for 33 years.

15 MS. LAO: Oh, can you please use the mic so  
16 people can --

17 MR. GOODNIGHT: You want me to hold this?

18 MS. LAO: Yeah, because people online can hear  
19 you with the microphone and the co-reporter.

20 MR. GOODNIGHT: Okay. Hello folks. 33 years in  
21 Acton. We live on a five-acre property. We are fully  
22 dependent on our groundwater. We have no other sources of  
23 water.

24 I am extremely concerned that in the event of a  
25 thermal runaway, despite the best efforts of our well-

1 intended Energy Commission and all the other officials that  
2 are involved in making these decisions, I'm very concerned  
3 that our groundwater would be permanently contaminated and  
4 I would no longer have water service on my property, which  
5 would make it virtually worthless.

6 And the other concerns I have is, I can't think  
7 of an area, and I'm not sure that the Commission has  
8 visited, but I can't think of an area that would be a  
9 poorer decision to base a BESS facility. We have no  
10 opposition to these types of facilities, but we worry a lot  
11 about putting one in a high fire district area where we can  
12 barely afford our insurance. Most of our neighbors, some  
13 of my neighbors, have had their insurance already canceled.  
14 We have Santa Ana winds.

15 The San Andres earthquake fault is three or four  
16 miles away and you're putting these solar systems, these  
17 battery solar systems, in the very critical corridor that  
18 affects all the highways and railway access from the  
19 Antelope Valley to Santa Clarita and L.A. How will people  
20 over three, four, five, seven, eight days, no matter what,  
21 however the extended period of time is, how will all that  
22 traffic, the thousands, tens of thousands of commuters, how  
23 will they get to work? How will they get back? Anyway --

24 MS. LAO: Thank you for your comment.

25 MR. GOODNIGHT: -- I think you got the point.

1 It's a bad spot, a real bad spot. Put it someplace else.

2 MS. LAO: Next up we have Laura Wilson. Please  
3 spell your name for the record and you have two minutes or  
4 less.

5 MS. WILSON: Thank you. My name is Laura Wilson,  
6 L-A-U-R-A W-I-L-S-O-N. I live across the street from where  
7 this project is going to go in, right across the street.  
8 We live near, south of Soledad Canyon Road, near Valenta.  
9 I'm very, very concerned about the safety of this project.

10 Where will the water come from for this project?  
11 All of us on this end of Soledad Canyon Road live on wells  
12 or have water brought in. Where will the water come from?  
13 It shouldn't come from our water.

14 I have a question for you. As I listened to your  
15 presentation, why weren't the Moss Landing and Gateway  
16 Projects licensed by you?

17 I have a question. I am against this project.  
18 Please put this out in the desert. Yes, we support the  
19 union people. Yes, we support all of you. You can go work  
20 there, but put it out in the desert.

21 Thank you.

22 MS. LAO: Next up we have Kathy Coughlin,  
23 followed by Thomas Coughlin.

24 And please spell your name for the record. It's  
25 on. It's on.

1 MS. COUGHLIN: It's on?

2 MS. LAO: Yeah.

3 MS. COUGHLIN: My name is Kathy Coughlin. That's  
4 K-A-T-H-Y C-O-U-G-H-L-I-N. I have been an Acton resident  
5 for the past nine years. Acton is where me and my husband  
6 decided to retire. It's beautiful.

7 I'm opposed to the Prairie Song BESS being  
8 located in Acton because I am worried about the potential  
9 fire risk, as everyone else. It will pose to our already  
10 very high fire hazard area. The proposed location of the  
11 Prairie Song BESS is in a corridor that receives hurricane  
12 force winds. Acton itself is a windy area, and wind and  
13 fire are deadly. If or when, probably when, there is a  
14 battery fire, it would be capable to burn our whole town  
15 down and areas beyond.

16 The insurance premiums have already skyrocketed  
17 due to the very high fire risk in our area. With the  
18 addition of the Prairie Song BESS, we may lose our fire  
19 insurance altogether.

20 I'm also very worried about the toxic fumes and  
21 contaminants put off by a lithium battery fire. The wind  
22 could carry those toxic contaminants for several miles  
23 through the air and affect our whole valley and beyond.  
24 Those toxic fumes and contaminants would be detrimental to  
25 our lives and that of our animals. It wouldn't even be

1 safe to eat our own fruits and vegetables being grown on  
2 our property. And those toxic contaminants would leach  
3 into our soil and affect our groundwater. And what about  
4 the risk of the cancers these toxic contaminants would  
5 cause? It's a disaster waiting to happen.

6 Please think about our safety. Do not locate the  
7 Prairie Song BESS in Acton.

8 Thank you.

9 MS. LAO: Next, we have Thomas Coughlin. Thank  
10 you. Please spell your name for the record.

11 MR. COUGHLIN: Tom Coughlin, C-O-U-G-H-L-I-N.

12 First of all, I see my fellow union members here.  
13 I'm union, 32 years, retired, live in Acton. Moved out  
14 here. If it wasn't for the union, I would not live here.

15 But I have to tell you guys, you're not telling  
16 the truth on some of this stuff. You say it will be just  
17 Santa Clarita and Antelope Valley union members. No, you  
18 know how the books work. It doesn't work that way. They  
19 pull from the books, no matter where you live within that  
20 area. So not true at all.

21 As for the fire department, we love you guys. We  
22 have one fire department here. It's a very small fire  
23 department. My neighbor fell on the ground three months  
24 ago, took 15 minutes to get to their house. We're less  
25 than five minutes away. I understand you bring in other

1 companies and other stations and everything, look at the  
2 time it will take for them to get here. If one of those  
3 catches on fire, they will shut down the freeway. They  
4 will shut down Soledad. They will shut down Sierra  
5 Highway. They will shut down Angeles Forest. They will  
6 have a hard time getting into the area.

7 Another thing is location, location, location,  
8 location. You've been told this all your life when you  
9 talk about real estate and everything like that. This  
10 isn't the location for it. I'm all for giving the work to  
11 the union members, but it needs to be moved out of our  
12 area.

13 You're going to shut down the freeway from when  
14 one of these things catches on fire. You're going to shut  
15 down the rail system. You're going to shut down all the  
16 inlets, outlets for this area. Another gentleman said we  
17 have 100,000 people that travel the 14 into the valley. It  
18 will be shut down. There was no way for them to get home  
19 to their families.

20 MS. LAO: Thank you for your comment.

21 Next, we have Melissa De Santis. Please spell  
22 your name for the record.

23 MS. M. DE SANTIS: My name is Melissa DeSantis  
24 spelled M-E-L-I-S-S-A D-E S-A-N-T-I-S.

25 Acton is my home, my sanctuary. We moved here

1 three years ago seeking peace and safety, but now Prairie  
2 Song threatens to take that away.

3 In response to the catastrophe at Moss Landing,  
4 residents were told to seal themselves inside their homes.  
5 In Acton, this would be impossible.

6 Most of us own livestock. In the event of a BESS  
7 fire, exposure to toxic gases would be inevitable as we  
8 work to evacuate our large animals.

9 Death and life-altering illnesses would be  
10 inescapable in our community. Imagine the legal and moral  
11 consequences of such an irresponsible development.

12 I'm so grateful to live in this beautiful  
13 historic rural town. Our ranch is my dream come true. But  
14 if Prairie Song is approved, I will be in fear for my life  
15 and the lives of my loved ones. There is no place like  
16 Acton in all of L.A. County. This hidden gem of country  
17 living must be protected.

18 Please withdraw your support of these development  
19 plans. Prairie Song does not belong in Acton.

20 MS. LAO: Next we have Aurora Gadbury. I hope  
21 I'm not mispronouncing it. And after that, we have Bethany  
22 De Santis.

23 And please spell your name for your record.

24 MS. GADBURY: Aurora Gadbury, A-U-R-O-R-A, last  
25 name Gadbury, G-A-D-B-U-R-Y. Thank you for inviting us

1 here today.

2 I just want to say I'm a little hot on this topic  
3 and I'm not as funny as some of the other people that were  
4 here. But when I talked to Ruthie, who sent something out,  
5 and I went full research monkey on this the other night.  
6 So I can't cover all those things.

7 But I just want to say, has anybody looked at the  
8 CAL FIRE map for Acton on this board sitting here today,  
9 the fire hazard map?

10 COMMISSIONER GALLARDO: This is your opportunity  
11 to speak. We don't want to --

12 MS. GADBURY: Well, this --

13 COMMISSIONER GALLARDO: -- waste any of the time.

14 MS. GADBURY: -- no, I'm asking because you're --  
15 and everybody's just giving me like the, you know, deer in  
16 the headlights. Okay, so basically it is a high fire area.  
17 The area north of us is an extremely high fire area.

18 I've been in two fires. I've evacuated from the  
19 Station Fire. I've evacuated from the Sand Fire shortly  
20 after I lived here. I'm a CERT trained person from L.A.  
21 City and also from L.A. County, as well as a Cal/OSHA 10-  
22 and 30-hour certified trainer.

23 So anyway, I just wanted to say this BESS project  
24 that you want to plan to build -- or that they want to plan  
25 to build here will exponentially increase the impact and

1 financial burden to the community, people that live here,  
2 as well as the hazards.

3 Now, I think that these people want to build this  
4 here because they only want to do a transmission line from  
5 1.2 to 1.8 miles when they don't really want to incur the  
6 expense of having to do it from somewhere in the Mojave.  
7 I'm working on the Metro Rail Purple Project, so, you know,  
8 Purple Line extension, so let me tell you, you can bore  
9 through and you'll have to pay for it. We shouldn't have  
10 to. And Southern California Edison is a privately  
11 investor-owned utility. So we don't see any benefit from  
12 either of those things.

13 You know, they're planning a stormwater  
14 retention. Many people have talked about, they're on the  
15 well, so this is going to take away from those, you know,  
16 from their groundwater recharging, which is also a problem.  
17 And about the business interests that are involved in all  
18 of this, that are supporting this, a lot of them don't live  
19 here. The union, I used to be with the IBEW. We can talk  
20 about that later. I've been in construction for 25 years,  
21 public works construction inspector, worked in public  
22 works, engineering and construction.

23 So, yeah, I'm opposed to this. And I think that  
24 there's a better place to do this.

25 MS. LAO: Thank you for your comment.

1 MS. LAO: For people in the back, there's seats  
2 up front, if you would like to take a seat.

3 Next, we have Bethany De Santis, followed by  
4 Heather La Bella.

5 And please spell your name for the record.

6 MS. B. DE SANTIS: Bethany D-E S-A-N-T-I-S.

7 I'm a physics student at COC and I've lived in  
8 Acton for three years. I have no objection to the  
9 construction of BESS facilities. However, the Prairie Song  
10 Reliability Project is a serious threat to the health of  
11 Acton residents. I cannot think of a worse potential  
12 location.

13 Acton is a known high fire risk area. We deal  
14 with extremely high winds and dry, hot weather every  
15 summer. And the threat of fires is ever present.

16 The BESS site in Moss Landing was a total  
17 disaster. 55,000 pounds of toxic metals were released as  
18 the fire burned. How can we be assured that the same  
19 catastrophe won't be repeated in Acton? It's still unclear  
20 what event triggered the thermal runaway at Moss Landing  
21 and there are no long-term studies on the environmental  
22 damage and health risks these facilities pose.

23 Hydrogen fires are extremely difficult to manage.  
24 It's common practice to just wait for the fire to burn  
25 itself out. That is not realistic in a place like Acton

1 where the landscape is dominated by dry brush and fires  
2 spread easily. Are you willing to sacrifice the health and  
3 safety of the people of Acton for your project?

4 The facility you want to build will contain  
5 thousands of lithium-ion cells. The failure of even one  
6 cell triggers thermal runaway which spreads from one cell  
7 to the next in a devastating chain reaction. These fires  
8 can start in seconds and burn for days, polluting the air  
9 and groundwater.

10 Please keep our community safe and consider  
11 moving the facility to an isolated area.

12 Thank you for your time.

13 MS. LAO: Next, we have Heather La Bella,  
14 followed by Ann McKeown.

15 And please state what you need for the record.

16 MS. LA BELLA: Hi. My name is Heather La Bella.  
17 I'm a local 399 Teamster that lives here in Acton. On  
18 behalf of all the Teamsters living here in Acton, we do not  
19 support this.

20 I'm also a volunteer with Acton Firewise and we  
21 help reduce wildfire risk, improve emergency preparedness  
22 and enhance community safety through education mitigation  
23 efforts. On behalf of the community, we attended the L.A.  
24 County Fire Department Defensible Space Hearing in  
25 Lancaster that was held February 19th and I directly asked

1 them how they felt about this project coming here to Acton  
2 and their direct response was, "It will burn very well."  
3 Okay. I'll meet with you after this if you'd like.

4 But let me tell you about Acton. Acton possesses  
5 a higher than average concentration of both seniors and  
6 veterans relative to Los Angeles County. Approximately  
7 20.4 percent to 20.6 percent of our population are 65 and  
8 older. That just makes me nervous because I care about our  
9 veterans, I care about our seniors here, and they are the  
10 ones in danger. They cannot evacuate.

11 Our roads are single dirt roads and when you go  
12 out on the 14 Freeway, we have 169,000 vehicles per day  
13 that travel this road. This needs to go to Lancaster or  
14 further up because if you take this up to Lancaster, you're  
15 only 40,000, 40,000 to 41,000 vehicles that travel daily on  
16 the 14 that way. It cannot be in this town. Our veterans,  
17 our seniors cannot evacuate. This is just disaster. We  
18 have 319 wartime veterans living in Acton. I'm sorry, I  
19 get nervous. But this -- we have a higher than average in  
20 Los Angeles County, roughly 14.25. The statewide average  
21 is 15 percent. We're at 20.6 percent, okay?

22 Please think of our seniors. Please think of our  
23 veterans. Yes, we all have animals. We also have the  
24 water issues. But please, we go to their homes.

25 I'm out of time. I'm sorry. I get so nervous.

1 MS. LAO: Next, we have Ann McKeown. Ann, please  
2 spell your name for your record.

3 MS. MCKEOWN: Sure, Ann, A-N-N, last name is  
4 McKeown, M-C, capital -K-E-O-W-N.

5 And I want to start by congratulating you. You  
6 have done something that nowhere else in this country has  
7 happened. And when I look at this room, I'm president of  
8 the local Democratic Club, and the Democrats and the  
9 Republicans are standing side by side, firmly united in  
10 this. If you could bottle it, you would be really  
11 successful.

12 But I want to continue talking about agreements.  
13 I am not hearing people say they hate battery storage. I  
14 am not hearing people say we don't need to stabilize the  
15 electric grid; right? Am I right? Okay, what I am hearing  
16 is this is the worst place.

17 And I have wondered and wondered and wondered,  
18 why would they pick Acton? Why would you pick Acton?  
19 Well, land is cheap. The power station is close. But  
20 we're worth more than profit. People say \$20,000 for  
21 insurance, \$10,000 minimum.

22 Really, we're going to support you building this  
23 thing. Just not here. And it's not a not in my backyard  
24 thing. It is that I have watched flames from my window,  
25 where I live three miles up a dirt road that is U-shaped.

1 I can't get out unless I hike. It's very real.

2           When they kill our power, we lose our water  
3 because we are in wells. And what gets the water 400 feet  
4 out of the ground on our property? Power. We have a water  
5 storage tank. It would last, by the calculations of the  
6 gentleman who spoke, five minutes, five minutes.

7           So please, please, please build it, and please,  
8 please, please don't build it here.

9           MS. LAO: Next, we have Don Wright. And please  
10 spell your name for the record.

11           MR. WRIGHT: Hi, again. Good evening. My name  
12 is Don Wright. D-O-N W-R-I-G-H-T. I'm a 25-year resident  
13 of Acton and a retired 34-year fire veteran. I retired as  
14 a battalion chief from the City of Glendale. I have a  
15 couple of issues to talk about this evening.

16           First and foremost, from the fire side, I've read  
17 some information about the planning for mitigation for  
18 fire. When they talk about fire flow, it's right spot on.  
19 A single hand line is not going to reach 300 feet. It is  
20 not going to do the job. You're going to need bigger  
21 appliances. And they use 1,000 gallons per minute.

22           You're not going to use one appliance if you have  
23 a fire in one of these facilities. You're going to use  
24 multiple appliances because you don't want to cool  
25 everything around. So it's going to be thousands of

1 gallons per minute. No municipal water supply and 80,000-  
2 gallon storage proposed facility is not going to be  
3 adequate to maintain a good solid fire flow throughout the  
4 course of that incident.

5           Let's talk a little bit about lifestyle here in  
6 Acton. We live here because it is a wonderful community.  
7 It's a rural community. We raise children here. Our  
8 grandchildren are now here. To see this change, to see an  
9 industrial facility dropped in the middle of this community  
10 will change it entirely. I don't believe zoning is  
11 currently in place to put this type of facility here and  
12 this may require a zoning change. And that seems  
13 disingenuous completely for those of us who have moved  
14 here. Property values for those of us who have moved here  
15 are going to fall precipitously. We're going to see our  
16 livelihoods that we put into our homes wiped out by this.

17           Moving on quickly, I can see, I heard from our  
18 union brothers, and I was a union member, that this is a  
19 great thing. Everyone standing up and supporting this  
20 project today doesn't live here. They are looking for the  
21 opportunity to come and make their living here and then --0

22           MS. LAO: Thank you

23           MR. WRIGHT: -- be gone in 18 months.

24           MS. LAO: Thank you for your comment.

25           MR. WRIGHT: You're welcome.

1 MS. LAO: And this is just a reminder, if you'd  
2 like to make a public comment, please fill out a blue card.  
3 It's on the back table.

4 Next, we have Don Laird. Please spell your name  
5 for the record.

6 MR. LAIRD: My name is Don Laird, L-A-I-R-D. My  
7 name is Don Laird. I've lived in Acton since 1988. I'm  
8 speaking today to strongly oppose the proposed Prairies  
9 Song Project.

10 Acton is a rural community located in a very high  
11 fire hazard severity zone. We live with the reality of  
12 wildfire risk every single year. Lithium batteries are  
13 known to experience thermal runaway events, fires that burn  
14 extremely hot, release toxic chemicals, and are notoriously  
15 difficult to extinguish. Placing an industrial battery  
16 facility in a community already vulnerable to wildfire is  
17 not responsible planning. It puts residents, first  
18 responders, and our environment at unnecessary risk.

19 Beyond the safety concerns, the project is  
20 fundamentally incompatible with Acton's rural character.  
21 People move here and stay here for open space, clean air,  
22 dark skies, and a quieter way of life. And an industrial  
23 energy storage site brings noise, visual blight, and heavy  
24 infrastructure into a community that has fought for decades  
25 to preserve its identity.

1 I've lived here for nearly four decades. I've  
2 seen how hard this community works to protect what we have.  
3 At this stage in my life, like many longtime residents, I  
4 don't have the time, resources, or physical ability to  
5 recover from a disaster caused by a facility that never  
6 should have been placed here. Acton is not the right  
7 location for a lithium-ion battery facility. The risks are  
8 too high.

9 The state is telling me the county can make  
10 millions taxing the energy. Southern California Edison can  
11 make millions transporting the energy. The owner can make  
12 millions storing and selling the energy. And outside  
13 cities can get cheaper energy because of this plant, while  
14 my community just absorbs the risks.

15 Thank you very much.

16 MS. LAO: Next up, we have Chuck Mercier.

17 MR. MERCIER: My name is Chuck Mercier.

18 MS. LAO: Please spell your name.

19 MR. MERCIER: Chuck, last name is Mercier,  
20 M-E-R-C-I-E-R. I moved here, bought property in '81.  
21 Finished our house in '82. Our five children, they weren't  
22 all born yet, but three of them -- well, two of them were  
23 born after we lived here and they've all graduated and went  
24 to school out here.

25 This project, I'm completely against it. This

1 location, I don't think anybody used common sense. Common  
2 sense seems to be very lacking today big time. Antelope  
3 Valley and Palmdale, the commuters, I'm not going to go  
4 over what everybody else has gone over, because I could  
5 just say ditto on all that stuff.

6           The cost for the company is -- the reason they're  
7 doing it is because it's cheap for them. They only have to  
8 go a couple miles. I mean, I hear that information. As  
9 soon as I heard where they're putting them, I'm thinking,  
10 yeah, they're going to put it where it's cheapest, and they  
11 can make the most money. Corporate America.

12           This is a red flag area. They don't have  
13 chemicals to fight these fires. Water makes it worse. All  
14 they're doing is trying to cool the stuff around it.

15           I-15, two summers ago, how many people got  
16 stranded in the desert? I had friends riding motorcycles.  
17 They got stranded in the middle of the desert. They had to  
18 try to go through on the side roads just to get to the 115  
19 degree temperature.

20           103 acres of lithium batteries. Wow. That's  
21 incredible. And there are no ordinances, right, for the  
22 L.A. County, I'm assuming? And a big question is why? If  
23 you would please put yourself in our shoes, where we live.

24           Thank you.

25           MS. LAO: We'll go next to Zoom, seeing that

1 there's no more raised hands or blue cards in the room at  
2 the moment. So if you're joining us via Zoom, please let  
3 us know if you would like to make a comment by using the  
4 raise-hand feature. If you're online, you will click on  
5 the open palm at the bottom of your screen to raise your  
6 hand. And if you're joining us by phone, please press star  
7 9 to raise your hand.

8 Okay, I am going to open up the line for Tasia  
9 Kieffer. Please unmute on your end and please state your  
10 name for the record. And we're asking for comments to be  
11 two minutes or less.

12 MS. KIEFFER: My name is Tasia Kieffer,  
13 T-A-S-I-A K-I-E-F-F-E-R. Good evening, Commissioners. My  
14 name is Tasia Kieffer. I'm the Senior Advocacy Manager at  
15 the L.A. County Business Federation, and we wish to express  
16 our strong support for the Prairie Song Reliability  
17 Project. This project will be a \$1.9 billion investment in  
18 the energy infrastructure of Los Angeles County and will  
19 serve as a cornerstone for regional grid stability and a  
20 major economic driver.

21 And with the push for electric vehicles and the  
22 increased frequency of extreme heat waves, the current grid  
23 is under unprecedented stress. Prairie Song provides 9,200  
24 megawatt hours of storage capacity to discharge clean  
25 energy exactly when the grid and our businesses need it the

1 most.

2           And in terms of economic and fiscal impact, this  
3 project is projected to generate \$98 million in  
4 construction-related tax revenue and an additional \$248  
5 million over its operational life. And \$7 million will be  
6 reserved for local benefit programs that are focused on  
7 economic resilience and environmental beneficial programs.

8           And so for these reasons, we ask that you support  
9 moving forward with the Prairie Song Reliability Project  
10 that is specifically designed to assist with peak demand  
11 and enhance reliability for the greater Los Angeles Basin.

12           Thank you.

13           MS. LAO: Next up, we have phone number ending in  
14 869. I will open up your line. Please unmute on your end.  
15 Hold on.

16           MR. GOLDBERG: Hello?

17           MS. LAO: Yes.

18           MR. GOLDBERG: I'm on Zoom. Can you hear me?

19           MS. LAO: Yes, we can hear you.

20           MR. GOLDBERG: Okay. Yeah. Hi. My name is  
21 Perry Goldberg. I'm a local resident of Acton. I love  
22 Acton. I love my friends in Acton. And I oppose this  
23 project for many of the reasons that my neighbors have  
24 passionately explained. My comment today, though, is  
25 focused on some practical issues that are relevant if the

1 Commission decides to approve the project.

2 I think people in the room can disagree about  
3 whether the risk of a very serious fire is high or low.  
4 But one thing we know for sure is that the risk is not  
5 zero. And we can't just plan for the kinds of accidents  
6 that have already happened. We need to plan for other  
7 foreseeable events that could cause a disaster.

8 A 9.2 gigawatt-hour storage facility would be a  
9 very obvious potential target to any bad actors who are  
10 seeking to cause harm. In an era of escalating tensions  
11 globally, this is a risk that needs to be considered.

12 We also know that such a fire would cause massive  
13 harm. Acton's groundwater needs to be adequately  
14 protected. We can't let anyone play Russian roulette with  
15 our groundwater. The developer claims that the metal  
16 battery containers themselves act as secondary containment.  
17 But in a thermal runaway fire exceeding 1,800 degrees,  
18 these containers would warp and melt. And our aquifer  
19 needs better protection than that.

20 Project approval, if it happens at all, it should  
21 be conditioned on a dedicated secondary containment budget  
22 for liners. \$19 million is a reasonable amount. That  
23 would be less than one percent of the budget.

24 And then what if, what if the worst happens? Who  
25 bears the consequences? I think it should be not the Acton

1 residents, not the California taxpayers. There should be  
2 adequate insurance, at least \$750 million of environmental  
3 protection, which is the kind of damage that would be  
4 caused.

5 Thank you.

6 MS. LAO: Okay, let's try this again. For the  
7 number ending on 869, I am going to open up your line. And  
8 it's not working. Here.

9 MS. GIBSON: Hello. Can you hear me?

10 MS. LAO: Yes. Go ahead. Please spell your  
11 name --

12 MS. GIBSON: Hi.

13 MS. LAO: -- for the record.

14 MS. GIBSON: Yeah, M-I --

15 MS. LAO: And we're asking for comments to be two  
16 minutes or less.

17 MS. GIBSON: Okay. Thank you. M-I-K-A-Y-L-A  
18 G-I-B-S-O-N, Michaela Gibson. And I'm speaking on behalf  
19 of VICA, the Valley Industry and Commerce Association.

20 We are proud to support the Prairie Song  
21 Reliability Project. This is a 1,150-megawatt battery  
22 energy storage system with approximately 9,200-megawatt  
23 hours of capacity, exactly the kind of large-scale  
24 infrastructure California needs to maintain grid  
25 reliability. By connecting to the existing Southern

1 California Edison Vincent Substation, the project will  
2 strengthen stability in the Los Angeles Basin and help meet  
3 peak demand without overburdening ratepayers.

4 It also represents a \$1.9 billion investment in  
5 the Antelope Valley, creating more than 300 construction  
6 jobs, 50 permanent roles, and generating an estimated \$600  
7 million in public revenue over its lifetime. For our  
8 business community, that means reliability, economic  
9 activity, and long-term regional competitiveness.

10 Thank you.

11 MS. LAO: Next up, we have Jose Centeno. I will  
12 open up your line. Please unmute on your end.

13 MR. CENTENO: Hello. I'm sorry. Can you hear  
14 me?

15 MS. LAO: Yes.

16 MR. CENTENO: I'm sorry.

17 MS. LAO: Please spell your name for the record.

18 MR. CENTENO: Yes, this is Jose Centeno,  
19 C-E-N-T-E-N-O, and I am representing the Association of  
20 Rural Town Councils.

21 For the last two months, we've been working with  
22 L.A. County as they develop their ordinance on renewable  
23 energy. They have not released the draft. We have been  
24 working directly with them and have been asking not to put  
25 this BESS storage systems in a very high fire area. So now

1 with the CEC coming in and pretty much making it easier for  
2 these developers to come into these areas, it's just a slap  
3 in the face to the rural communities.

4 I want to address the applicant. The reason  
5 there is a benefit of not putting these projects in the  
6 very high fire area, because when a fire happens in the  
7 area, particularly like the one in Juniper Hills, the  
8 Bobcat Fire, where there was tornadoes created by the fire,  
9 so when a fire happens like that in Acton, it's going to  
10 burn your facility and the fire department are not going to  
11 be there to protect it. They're going to be protecting the  
12 residents.

13 Thank you so much.

14 MS. LAO: Next we have Enrique Huerta with  
15 Climate Resolve. I am going to open up your line and we'll  
16 have to unmute on your end.

17 MR. HUERTA: Enrique Huerta, E-N-R-I-Q-U-E  
18 H-U-E-R-T-A. Good afternoon, Chair Hochschild and members  
19 of the Commission. I'm with Climate Resolve, a Los  
20 Angeles-based nonprofit.

21 We thank you for the opportunity to support the  
22 Prairie Song Reliability Project. This project aligns with  
23 our goal to strengthen communities against extreme heat,  
24 providing critical energy reserves when energy demand is  
25 high, reduces the probability of rolling blackouts, which

1 disproportionately affect low-income communities of color.

2 For these reasons and more, Climate Resolve  
3 supports this project and kindly ask you to approve the  
4 Prairie Song Reliability Project.

5 Thank you.

6 MS. LAO: Commissioner, we have one more here.

7 Okay, we're going to go back to the room. And we  
8 have Karen Stueve. Stueve? Okay.

9 MS. STUEVE: Hi. Thanks for giving us the  
10 opportunity to speak.

11 MS. LAO: Please spell your name for the record.

12 MS. STUEVE: Yes.

13 MS. LAO: And we're asking for comments to be two  
14 minutes or less.

15 MS. STUEVE: Sure. It's Karen Stevie,  
16 S-T-U-E-V-E.

17 The decision to place a BESS in Acton when the  
18 overwhelming majority of residents oppose it may have been  
19 based upon the calculus of relatively low land prices and  
20 the powerless voting bloc of rural areas. But this  
21 decision does not factor in future repercussions. If you  
22 install a highly flammable BESS and there is groundwater  
23 contamination or a Paradise-style fire, your names will be  
24 indelibly associated in history with this disaster.  
25 Everyone knows the name Hinckley today. Do you want your

1 name associated?

2 Yes, and I think that's it. Thanks.

3 MS. LAO: We have, next up, John Vidic. Please  
4 spell your name for the record. And we're asking for two  
5 minutes or less.

6 MR. VIDIC: John, and then V-I-D-I-C. Okay. My  
7 name is John Vidic. I'm a degreed chemical engineer, and  
8 I've been practicing as an environmental engineer for 40  
9 years. And I have some comments.

10 Several experts today have said that when a BESS  
11 fire occurs, all the hazardous compounds are destroyed and  
12 disappear. This is simply not true. The fluorine and the  
13 electrolyte is not destroyed by the fire. Instead, it's  
14 converted to highly toxic hydrogen fluoride. And according  
15 to the safety data sheet provided by the developer, the  
16 lithium salt used in the BESS is LiPF<sub>6</sub>, or lithium  
17 phosphate hexafluoride. The electrolyte is 35 percent of  
18 the entire battery mass. And most of the LiPF<sub>6</sub> during a  
19 BESS fire, every molecule of lithium phosphate breaks down  
20 and forms six molecules of hydrogen fluoride. Every BESS  
21 fire at this facility will release at least 662 pounds and  
22 not the 39 pounds that developer claims. The hazardous  
23 consequences of this event exceed 10 and is therefore very  
24 significant.

25 I suggest you guys get some better chemical

1 engineering advice when analyzing this project.

2 Thank you.

3 MS. LAO: Then, I have three cards with comments  
4 for folks who couldn't stay. So, I will read them, so  
5 they'll be on the record.

6 The first one is from Hsu Heitsai, that's H-S-U  
7 H-E-I-T-S-A-I. And I'm going to go ahead and start reading  
8 the record.

9 "My name is Hsu Heitsai, a resident of Acton. Thank  
10 you for giving me the opportunity to speak.

11 "I oppose the Prairie Song Battery Energy Storage  
12 Project. Acton is a rural residential community, not  
13 an industrial zone. We support clean energy, but not  
14 at the expense of our communities and our safety.

15 Acton residents should not bear the risk of massive  
16 regional energy projects placed next to our homes.  
17 Grid reliability is important, but location matters.  
18 I respectfully ask you to reconsider this site and  
19 stand with the people who actually live here.

20 "Battery storage fire can burn for days and require  
21 emergency response. Our small rural town does not  
22 have the resources. Before approving a project of  
23 this size, community safety must come first. I urge  
24 you to put residents ahead of developers and unite  
25 this project.

1 "The battery facilities' fire recorded as following  
2 for your reference: one, Moss Landing battery fire,  
3 California, 2021-2022; Macon (phonetic) BESS Fire in  
4 Arizona in 2019; and Victorian Big Battery Fire in  
5 Australia, 2021."

6 That's the end of that comment.

7 The next comment is by Traci Foster, that's  
8 T-R-A-C-I F-O-S-T-E-R. And I'm going to start and read the  
9 comment right now.

10 "Hi, my name is Tracy Foster. I am so upset that a  
11 project of this magnitude would be considered for our  
12 community.

13 "Electric battery fires are so devastating to the air,  
14 the soil, and the water table. I live on five acres  
15 with a well. This would be devastating for us.

16 "Plus, we are a very high fire risk area. Why would  
17 you want to build here? A battery storage facility  
18 fire would wipe us out and our surrounding areas would  
19 be highly impacted by all the toxins.

20 "This whole project scares me to death. Please  
21 reconsider."

22 And the last comment I have is by Kaila Coe,  
23 that's K-A-I-L-A C-O-E. And I'll start reading the comment  
24 right now.

25 "Good evening, Commissioners. My name is Kaila and I

1 have a 10-month old. We live less than one mile from  
2 the proposed site.

3 "Are the residents who live closest to this facility  
4 receiving free electricity in exchange for bearing the  
5 highest level of risk?

6 "If there is a lithium-ion battery fire, which can  
7 burn for days and release toxic smoke, will residents  
8 and their animals have a place to be evacuated that  
9 can fully bear the need of the residents here?

10 "When we return home, would you pay for smoke  
11 remediation, air quality testing, and environmental  
12 cleanup to ensure our homes, soil, and water are safe  
13 for ourselves, animals, and children?

14 "For those who do have insurance, would you cover the  
15 inevitable increase in premiums? And if insurers  
16 decide to withdraw coverage altogether because of  
17 proximity to this facility and a wildfire later  
18 devastates our community, would you rebuild those  
19 homes?

20 "Will there be a dedicated trust fund to cover long-  
21 term health care costs if residents develop  
22 respiratory illness, cancer, or other conditions  
23 potentially linked to chronic exposure or a  
24 catastrophic failure?

25 "I am not willing to raise my child as a case study to

1 find out what the long-term health consequences are of  
2 living next to hundreds of batteries is. And if  
3 illness occurs, who pays for the medical bills, the  
4 lost income, the long-term care? Again, not the  
5 developer, not the Commission. The burden falls on  
6 us.

7 "If I no longer feel safe and want to move, would you  
8 compensate homeowners for the difference between what  
9 our homes would have been worth without this project?  
10 Because let's be honest, who pays full market value to  
11 live next to a bedside in a wildfire zone?

12 "This project privatizes the profit and socializes the  
13 risk. This benefit goes to the grid, to the  
14 developer, and to broader energy policy goals. The  
15 risks, safety, health, financial burdens stay with  
16 Acton families. This is not equitable. It is not  
17 responsible or safe siting. And it is not fair.

18 "Clean energy should not come at the expense of the  
19 concentrated risk placed on one residential community,  
20 especially when safer siting alternatives exist."

21 I'm going to go back to in Zoom. Okay. Okay.  
22 And I see that we have two hands back in Zoom. I'll start  
23 with Quinton Garrard, I'm hoping. I'm so mispronouncing  
24 things today. My apologies. I will open up your line.  
25 And there you go.

1 MR. GARRARD: Oh, hello.

2 MS. LAO: Yeah. Yes. And please spell you name  
3 for the record.

4 MR. GARRARD: Yes, definitely. Hi. My name is  
5 Quinton Garrard, Q-U-I-N-T-O-N G-A-R-R-A-R-D. And I'm a  
6 community organizer on the Climate Team for the Los Angeles  
7 Alliance for a New Economy. LAANE is an organizing and  
8 advocacy institution committed to economic, environmental,  
9 and racial justice.

10 We support the construction of solar and wind and  
11 energy products and associated battery energy storage  
12 systems that are completed using high road labor and  
13 environmental standards. These projects represent critical  
14 opportunities to advance our vision of a new economy rooted  
15 in thriving communities and a healthy environment for all  
16 Angelinas.

17 Thank you. And I yield the rest of my time.

18 MS. LAO: Okay. And next we have Tom. I will  
19 open up your line. Please unmute on your end.

20 MR. SMITH: Hi there.

21 MS. LAO: And please spell your name for the  
22 record.

23 MR. SMITH: Hopefully this is working.

24 MS. LAO: It is.

25 MR. SMITH: My name is Tom Smith, and I do not

1 want this in my neighborhood. Is there a reason why this  
2 cannot be stored at the same place that the solar is  
3 generated? Because there's just too much risk in this  
4 neighborhood to bring it in locally. I realize they're  
5 being greedy because, yes, if they can store electricity  
6 closer to where it's being used, it will be more efficient.  
7 However, I think the risks in this particular community are  
8 a little too much.

9 I yield my time. Thank you.

10 MS. LAO: And that concludes our comments on  
11 Zoom.

12 MS. CHANG: Thank you, everyone, who has made  
13 comments so far. For those joining us now in the room,  
14 there's more chairs at the front if anyone wants to see up  
15 here. And if you would like to make a comment, please fill  
16 out a blue card with the Public Advisor's table at the  
17 back.

18 As we do have quite a few members of the public  
19 join us after the staff presentation we provided, we would  
20 like to briefly recap some of our presentation that is of  
21 interest to the community before returning to new public  
22 comments. We don't have slides to accompany this, but  
23 there is a copy of the slides behind at the back of the  
24 room with the Public Advisor's Office as well.

25 So first, with regard to battery energy storage

1 systems, or BESS, B-E-S-S, there are several differences  
2 between earlier BESS models and the current lithium iron  
3 phosphate, or LFP, models that have more safety  
4 enhancements. The differences include different battery  
5 chemistry, LFP instead of nickel manganese cobalt, or NMC,  
6 outdoor enclosures instead of indoor batteries, engineering  
7 controls such as flammable gas detectors, smoke detectors,  
8 flame detectors, and heat detectors, better administrative  
9 controls such as training and clearly designated  
10 responsibilities when battery cell anomalies are detected.

11           The CEC has experience with permitting and  
12 overseeing the construction and operation of a wide range  
13 of battery types and sizes, including utility-scale  
14 applications. The CEC performs an independent, rigorous  
15 analysis for any battery energy storage system project, no  
16 matter its location or size, with an emphasis on safety.  
17 The CEC looks at every aspect of safety to ensure that if a  
18 project were certified, it would not create a significant  
19 impact during the construction or operation of the project.  
20 Additionally, our staff stay up to date with all the latest  
21 codes, standards, research, and best practices for battery  
22 energy storage systems.

23           With regard to biological resources, the proposed  
24 project site is located on the northern side of the San  
25 Gabriel Mountains bordering the Antelope Valley and

1 partially overlapping with the Santa Clara River  
2 Significant Ecological Area, or SEA. The SEA is a  
3 conservation area formally designated by the Los Angeles  
4 County Zoning Regulations. The project site includes  
5 native scrub, sage bush, and California juniper woodland, a  
6 sensitive natural community, and rare plant species which  
7 may be impacted by the project.

8 Additional project impacts may include impacts to  
9 special status wildlife, including Crotch's bumblebee,  
10 Southern California ringtail, and mountain lion. Waters of  
11 the state may also be impacted.

12 Construction and operation could lead to habitat  
13 loss, plant removal, wildlife injury, nesting disruption,  
14 and human-related disturbances from lighting, noise, and  
15 invasive weeds. CEC staff is working with California  
16 Department of Fish and Wildlife and Los Angeles County to  
17 develop avoidance, minimization, and mitigation measures.

18 Now I would like to hand the mic back to Fabi.

19 COMMISSIONER GALLARDO: Actually, we're going to  
20 take a break for 10 minutes. Some of the staff need to  
21 move and twist, and I assume that the audience may too. So  
22 if you are willing to give us your grace and allow us 10  
23 minutes, that would be really helpful. And we'll get right  
24 back to public comment.

25 (Off the record at 6:47 p.m.)

1 (On the record at 7:06 p.m.)

2 MS. LAO: Okie-doke, so we're going to continue  
3 with public comment. We have four more new blue cards.

4 So if Mark Kulla can please come to the podium,  
5 and will be followed by Monica Kulla. And if you could  
6 please spell your name for the record, and we're asking for  
7 comments to be two minutes or less. Oh, oh, sorry.

8 MR. KULLA: (Indiscernible.)

9 MS. LAO: There we go.

10 MR. KULLA: I'm a fairly new resident to Acton.  
11 I was raised in Las Vegas. So I'm kind of used to  
12 (indiscernible).

13 MS. LAO: Oh.

14 MR. KULLA: Yeah?

15 MS. LAO: Yes.

16 MR. KULLA: Mark Kulla, M-A-R-K K-U-L-L-A. Thank  
17 you. I'm kind of used to alternative energy being brought  
18 in. It's a little different here in a rural community.

19 This isn't an abstract policy debate about  
20 renewable energy. This is a risk allocation decision, and  
21 the risk is being placed on us here. And I'm sure going  
22 along with the best practices and items that you have and  
23 your regulations and everything, those are the things you  
24 weigh.

25 I think it's probably been said here more than

1 once, but the battery energy storage systems contain  
2 flammable cells, hazardous materials, lithium, salt,  
3 nickel, cobalt, manganese, electrolyte solvents. And we  
4 all know that when they fail through thermal runaway, a  
5 self-sustaining chemical reaction that can burn for days  
6 can occur and is extremely difficult to extinguish. We've  
7 already seen what it looks like at a utility-scale,  
8 including the incident at Moss Landing. These events  
9 release toxic gases, hydrogen fluoride, generate  
10 contaminated fire suppression runoff containing heavy  
11 metals and chemical residues.

12 In a rural area like ours, this is particularly  
13 concerning. Many of us rely on private wells. We've got  
14 chickens, other things. We do not have redundant municipal  
15 water systems. If contaminated runoff reaches our soil or  
16 our aquifer, remediation is not simple. And in many cases,  
17 groundwater contamination can persist for decades.

18 Now add the fact that we are in a high fire zone,  
19 as I understand, in trying to get insurance for my home,  
20 the highest fire zone in the state of California that you  
21 can have. Insurance carriers are already withdrawing from  
22 this area. And I know of only one company that writes  
23 policies.

24 MS. LAO: Thank you for your comments.

25 MR. KULLA: Thank you.

1 MS. LAO: Next up we have Monica Kulla. Please  
2 spell your name for the record unless you want comments to  
3 be taken in for less.

4 MS. KULLA: Good evening. My name is Monica  
5 Kulla, that's M-O-N-I-C-A K-U-L-L-A, and I'm here to  
6 formally oppose the proposed battery energy storage system  
7 in our rural community. This proposal introduces  
8 industrial-scale lithium-ion infrastructure into an area  
9 defined by private wells, agricultural land, limited road  
10 access, and high wildfire risk. That combination demands a  
11 fire far higher standard of scrutiny than we have seen.

12 First, the groundwater and soil risk. As my  
13 husband stated, there's a lot of toxic elements to these  
14 batteries. He also referenced Moss Landing, which  
15 illustrates the duration and complexity of these events.  
16 In a community dependent on groundwater well, even a low  
17 probability failure carries high consequence impacts.

18 Second, the fire zone amplification. We're  
19 already in a high fire zone. Insurance carriers are  
20 withdrawing and increasing premiums due to wildfire  
21 exposure.

22 Third, operational impacts. Continuous cooling  
23 systems are needed in order to keep this running.  
24 Inverters and transformers generate persistent low  
25 frequency noise. Have they had an independent acoustical

1 analysis assess nighttime and tonal impacts relative to  
2 rural ambient baselines?

3 Fourth, decommissioning. These batteries have  
4 finite lifespans. Where will the thousands of aging  
5 modules go at the end of their life? Recycling capacity  
6 for utility-scale batteries remains limited and costly.  
7 Without binding financial assurances, this community risks  
8 inheriting the waste liability decades from now.

9 Finally, evacuation logistics. Our road  
10 infrastructure is limited. In the event of a battery fire  
11 requiring an exclusion zone, what is the evacuation plan?  
12 How quickly can residents be notified and safely moved?  
13 Has plume modeling been conducted for worst-case wind  
14 conditions? It's very windy here.

15 This is not an opposition to renewable energy.  
16 It is an opposition to placing a high-risk industrial  
17 infrastructure in a rural residential setting.

18 MS. LAO: Next, we have Joan Millar. Please  
19 spell your name for the record. Okay. It's for our court  
20 reporter.

21 MS. MILLAR: Sure. My name is Joan Miller,  
22 J-O-A-N- M-I-L-L-A-R. I'm a 33-year Acton resident. I  
23 have numerous concerns about the Prairie Song Dust Project  
24 being proposed to my community, but I'm limited to two  
25 minutes.

1           We're located in a known high fire zone. If this  
2 BESS facility is built in our community, it's highly  
3 probable homeowner policies will be canceled, which they  
4 already are for other reasons, or the rates will skyrocket  
5 exponentially. In addition, our property values will  
6 plummet if we can sell our home at all. As a retiree, this  
7 would be financially catastrophic.

8           Your BESS 100-acre facility, the largest in North  
9 America, will forever change our beloved community. It  
10 will become an eyesore, a blight.

11           The health and safety standards are numerous.  
12 Sadly, many other communities have suffered the  
13 consequences of lithium-ion batteries catching fire,  
14 spewing toxic chemicals into the air that require  
15 evacuations and extensive response. The Moss Landing  
16 facility is just one example, yet you have selected a  
17 community of 7,500 residents with a major corridor, the 14  
18 Freeway, and train tracks that carry cargo and people on  
19 Metrolink running through it. Evacuation would be  
20 monumental.

21           In addition, Acton is located seven miles from  
22 the San Andreas Fault. Earthquake-induced BESS fires are  
23 possible. Battery fires are notoriously difficult to  
24 extinguish and can experience thermal runaway events. How  
25 does any of this make sense?

1 I understand the large open space and the close  
2 proximity to the transition powers that send power to Los  
3 Angeles as a cost-saving measure that looks enticing on  
4 financial statements. But at what cost?

5 The health and quality of life of your fellow  
6 human beings is at stake. I implore you to do the right  
7 thing, put people above profits, and locate the Prairie  
8 BESS facility in the middle of the desert as far away from  
9 human beings as possible.

10 MS. LAO: Thank you for your comment.

11 And next we have Tammie Necessary. Please spell  
12 your name for the record. I think the mic should be on  
13 still.

14 MS. NECESSARY: Hi, my name is Tammie Necessary,  
15 T-A-M-M-I-E N-E-C-E-S-S-A-R-Y.

16 I've had the privilege of calling Acton my home  
17 for the past 48 years. I've raised my family here, and I  
18 cannot imagine living anywhere else. Acton is a small,  
19 tight-knit community nestled in the beautiful mountain  
20 hills and valleys of the Antelope Valley. Our town is  
21 peaceful, and our natural surroundings, like the poppies  
22 that blanket our hills, are part of what makes this place  
23 special. It's quiet, scenic, and a safe place to live.

24 But now we're being asked to accept a proposal  
25 that doesn't belong here, a battery energy storage

1 facility. I'm here to tell you that this facility brings  
2 nothing but risks and harm to our community. It would be a  
3 massive eyesore, completely out of place in our stunning  
4 natural landscape. It is a high-risk project with the  
5 potential for toxic exposure and the threat of catastrophic  
6 fires. Worse, it wouldn't even benefit us. All the power  
7 generated by this facility would be sent over the hill to  
8 Pasadena and Los Angeles, not to Acton. So the risk is all  
9 ours, but the reward goes elsewhere.

10 I ask, why here? Why not build this facility in  
11 a place where it's less of a danger to other communities  
12 like ours? The answer is clear. It's about money. This  
13 isn't about doing the right thing or what's best for Acton.  
14 It's about making a profit at our expense. And I can't  
15 stand by while our town and our homes, our safety, and our  
16 peace of mind are sacrificed for someone else's bottom  
17 line.

18 To make matters worse, I am 1.5 miles away from  
19 this proposed site, and yet I have received absolutely no  
20 formal notice or updates, no letters, no warnings, nothing.  
21 If it wasn't for our Town Council and other strong bonds of  
22 our community, I wouldn't even know about this. How can it  
23 be that someone this close to the site isn't informed?  
24 That's not transparency. That's not respect for the people  
25 who call this place home.

1 I urge you, please consider the long-term effects  
2 of our town, our environment, and our livelihoods. Don't  
3 turn Acton into a place where no one can get fire  
4 insurance, no one wants to live because of the dangers and  
5 the ugly infrastructure. Find another location, please.  
6 Build elsewhere and let our town remain the beautiful,  
7 safe, and peaceful community that it is.

8 Thank you.

9 MS. LAO: I'm filling in the blue cards at the  
10 moment. Would you like me to make a comment?

11 Does anybody else would like to make a public  
12 comment? And if so, you can fill out a blue card on the  
13 back table. It's the (indiscernible) if anybody's  
14 interested, it's in the back. Hey, guys.

15 COMMISSIONER GALLARDO: Can someone bring them a  
16 card? It's like in the middle. Okay. There he goes.  
17 We're going to be here until 8:00, so we will wait for you.  
18 There's not a rush.

19 (Off mic comment.)

20 COMMISSIONER GALLARDO: Well, no, we're not going  
21 to do a Q&A today because we don't have enough information  
22 to be able to provide to you anyway. So we don't want to  
23 put anything out there that's a guess and, you know,  
24 assumption. And really, today is about you being able to  
25 have your time to speak to us and say what you've got to

1 say. And you can have questions put into the record, but  
2 we're not answering.

3 (Off mic comment.)

4 COMMISSIONER GALLARDO: Understood. But this is  
5 the first meeting. We will have others and, you know, we  
6 can adjust the time. But we want to make sure everyone had  
7 an opportunity to be able to speak. And so we thought the  
8 two minutes could, you know, enable us to do that.

9 All right, so while we're waiting for anyone else  
10 who wants to make public comment --

11 MS. LAO: I see there is a hand in Zoom.

12 COMMISSIONER GALLARDO: In Zoom? Go ahead.

13 MS. LAO: Yeah. Okay. I see Nancy Crosby. I am  
14 going to unmute your line. You're going to have to unmute  
15 on your end. And please, for the record, we're asking  
16 comments to be two minutes or less.

17 MS. CROSBY: This is Nancy Crosby, N-A-N-C-Y  
18 C-R-O-S-B-Y.

19 I've been in Acton for almost 30 years. And I  
20 can't say very much beyond what has already been stated.  
21 But I share the same sentiment, that Acton is a beautiful  
22 rural community. And it has schools, small businesses, and  
23 it's not far from a larger city. And if you put this  
24 endeavor in Acton, it not only endangers all of us, but  
25 potentially local residents and nearby cities.

1           With our high fire danger, I tell you, I live  
2 every summer worried about what fire is going to start and  
3 what could happen. And if a fire starts with this project,  
4 there isn't going to be very much remedy for us. It's  
5 going to be very difficult for that fire to ever be put  
6 out.

7           So bottom line is, much like others that have  
8 spoken, I really want to emphasize how important it is that  
9 this project not happen in Acton. Find a place that is not  
10 as likely to endanger people. There have to be other  
11 sites. Although I must say that with modern innovations,  
12 this type of battery storage shouldn't be happening anymore  
13 anyway anywhere. There's too much happening that's  
14 increasing the safety level so that this shouldn't be  
15 necessary, regardless of whether it's in Acton or in any  
16 other location.

17           Thank you.

18           MS. LAO: And I'm not seeing any more hands  
19 raised on Zoom.

20           Are there any comments here in the room? Okay,  
21 David Devereaux to the podium, please. I think the mic's  
22 still on, isn't it?

23           MR. DEVEREUX: Hello?

24           MS. LAO: Please spell your name for the record.  
25 We're asking for --

1 MR. DEVEREUX: David Devereaux.

2 MS. LAO: Spell it out for the record for our  
3 reporter.

4 MR. DEVEREUX: Oh, last name is D-E-V, like  
5 Victor, -E-R, like Robert, -E-U-X, like X-ray. I  
6 appreciate the opportunity to make my comments here.

7 I understand the importance of maintaining  
8 electrical reliability for California. However, I have  
9 serious concerns about the proposed project and its  
10 compatibility with our rural environment. Agua Dulce, we  
11 all know, is a high-fire area with limited evacuation  
12 routes, constrained emergency response access, et cetera.  
13 So introducing this large-scale project into a wildland  
14 urban area, rural area, it will -- sorry. Introducing a  
15 large-scale battery energy storage facility into this area  
16 raises safety concerns, particularly given thermal runaway  
17 incidents in similar facilities elsewhere in California and  
18 across the country.

19 Battery fires remain uniquely difficult to  
20 suppress and can burn for extended periods, as people have  
21 already stated. The Commission should fully evaluate  
22 worst-case fire scenarios, impacts on surrounding  
23 communities and properties, evacuation feasibility, and  
24 long-term environmental risks specific to this terrain and  
25 wind conditions.

1           In addition, projects of this scale can  
2 fundamentally alter the rural characteristics that many  
3 have invested in and relied upon in the area.

4           So I would hope that you would reconsider this  
5 project, due to the risks and also the negative impact on  
6 our property values for those of us that have invested in  
7 properties in the area.

8           MS. LAO: Thank you for your comment.

9           MR. DEVEREUX: Thank you.

10          MS. LAO: And we have Nina Chacon. I hope I  
11 pronounced that right. I've been having a day. Okay,  
12 great. And please spell your name for the record. And  
13 we're asking for comments to be two minutes or less.

14          MS. CHACON: Okay. Thank you. My name for the  
15 record is Nina Chacon. The last name is spelled  
16 C-H-A-C-O-N. I'm a resident of Acton.

17          I would like to speak today because I oppose this  
18 development for three main reasons. I've been an Acton  
19 resident for seven years. I live here with my husband and  
20 my six-year-old daughter. I am also a scientist. I have a  
21 degree in science. I've been teaching middle school  
22 science for 25 years. So I do have a science background  
23 and I have quite some understanding about this.

24          The first reason why I oppose this is the fire  
25 risk. As mentioned before, we are already almost

1 impossible to obtain insurance outside the California FAIR  
2 plan. We have unpredictable high winds that cause PSPS  
3 several times a year. We have canyons and steep hillsides  
4 that make containment challenging. We're not even allowed  
5 ADUs on our properties, even if we have acreage.

6 The second reason is the water contamination  
7 risk. Like many properties, my property relies on a well.  
8 We're not connected to county water. If our groundwater  
9 gets contaminated through an accident, our property will be  
10 without any access to clean water, as many others. That  
11 makes our property basically unusable.

12 The third reason is livestock. We do own horses.  
13 If you do have livestock, it is impossible to shelter in  
14 place. Animals have to be watered and fed. Our barns are  
15 not able to be shut off from the outside air. We have to  
16 go outside to take care of our livestock. So these  
17 properties would lose not only their rural character, but  
18 also their value and any usability, unless the county is  
19 willing to, I don't even know, connect us all to county  
20 water so we have a Plan B, or give us all evacuation  
21 accessibilities and places where we can take our livestock  
22 to. There's just no way that I see that this is a good  
23 idea.

24 Thank you so much for your time.

25 MS. LAO: We don't have any more blue cards right

1 now. We're going to make a call for them.

2 Does anybody else who hasn't made a public  
3 comment would like to do so? Just go and fill up a blue  
4 card at the back.

5 MS. CHANG: All right, while we're waiting for  
6 public comment, we'll talk about next steps.

7 So Hilarie, if we could get the comments due  
8 slide, please?

9 And I want to sincerely thank you all for taking  
10 the time today and sharing all your comments. We still  
11 have time, like Commissioner Gallardo said, we'll be here  
12 until 8:00 p.m., and so happy to hear additional comments.  
13 Please submit a blue card if so. As Fabi mentioned, you  
14 can submit a comment anytime.

15 We did file the Notice of Preparation to the  
16 docket on February 2nd, 2026. And I wanted to note that  
17 the public comments on the scope and content of the  
18 environmental document in response to the Notice of  
19 Preparation are due by 5:00 p.m. on March 4th, 2026. So  
20 comments can be submitted electronically via the e-comment  
21 system on the CEC webpage for the proposed Prairie Song  
22 Reliability Project or mailed directly to the CEC at the  
23 address identified on this slide.

24 And next slide, please.

25 As you've seen, CEC welcomes public participation

1 today and throughout the proceeding. We anticipate the  
2 staff assessment will be published and circulated for  
3 public review in June 2026. There's a QR code on the slide  
4 and also on the materials in the back of the Public  
5 Advisor's Office where you can get access to the project  
6 webpage.

7 MS. LAO: Okie-doke, so we have one more public  
8 comment by Mark Stocks. Please walk up to the podium and  
9 spell your name for the record. We're asking for comments  
10 to be two minutes or less. And please speak into the  
11 microphone.

12 MR. STOCKS: Thank you. My name is Mark Stocks.  
13 I'm a resident of Acton for about six years now. Prior to  
14 that, I was a resident of Agua Dulce for 27 years, so I  
15 know the area. It's been my home for a lot of years. I  
16 know the rural life. I know what it means to a lot of  
17 people here and including my family.

18 I was a police officer for several years. And  
19 during that time, I was also an arson investigator. I went  
20 to school, studied arson investigation, fires in general,  
21 wildlife [sic] fires. So I gained a lot of knowledge from  
22 that. And with that knowledge, I know that, you know, the  
23 fires that are being fought nowadays, especially with the  
24 lithium-ion fires, are completely different than they were  
25 years ago. They're generated differently. They produce

1 their own heat. They're basically thriving on their own  
2 fuel system, so they're hard to put out. It's very hard to  
3 put out. It's very hard to put out with just the means of  
4 water. You have to use chemicals and other things to try  
5 to put these things out.

6 Well, all that stuff, the water and these  
7 chemicals, goes into the ground and goes into the  
8 groundwater, which is going to be devastating to people in  
9 general, including mainly to a lot of people that have  
10 livestock. So it's going to affect the area quite a bit  
11 because that's what our rural community is all about.

12 The toxic pollutants that would be placed in the  
13 air during a fire could last for an unknown amount of time.  
14 I don't think they really know how long it would last.  
15 Obviously, the larger the fire, the bigger it would be as  
16 far as the pollutants in the air. We've already consulted  
17 with several realtors who believe that our house would  
18 decrease in value and also make it difficult to sell the  
19 house.

20 We also believe that the chemicals in the water  
21 to fight a fire would contaminate the ground, as I said  
22 before, even affecting the Santa Clara River. Should a  
23 fire erupt, the location --

24 MS. LAO: Thank you.

25 MR. STOCKS: Okay. Thank you.

1 MS. LAO: And we saw that some folks came in. If  
2 you'd like to make a public comment, please fill out a blue  
3 card in the back at the table of the Office of the Public  
4 Advisor.

5 (Off mic comment.)

6 COMMISSIONER GALLARDO: So there are some  
7 questions happening in the room. I apologize. I didn't  
8 state that for the Zoom participants earlier. So we're  
9 trying to be responsive here.

10 (Off mic comment.)

11 COMMISSIONER GALLARDO: So you can submit  
12 comments, questions in writing into the docket. When you  
13 make a public comment, you could do that as well. But what  
14 we say, especially at this first public meeting, is we  
15 don't answer. We don't do a Q&A-style type of session.

16 (Off mic comment.)

17 COMMISSIONER GALLARDO: We tell folks that it's  
18 one chance to make your comment, again, to be fair to  
19 everybody and also to help ensure everybody gets a chance.  
20 So we wouldn't do a second round, but you would have been  
21 able to do that when you first spoke. And then we did hear  
22 some people ask a question earlier.

23 MS. LAO: I'm going to make a call for Zoom, just  
24 in case. And for those on Zoom that maybe have joined  
25 recently, if you would like to make a comment, please press

1 the open -- I can't even read what I'm talking about.  
2 Yeah, please raise your hand, it looks like an open palm,  
3 if you would like to make a comment and you're on Zoom.

4 I see somebody on Zoom. I see it's the phone,  
5 Samson SMS 9160. I am going to unmute your line. Open  
6 your line, please, and please state your name for the  
7 record.

8 MS. PHILLIPS: Thank you. Vivian Phillips,  
9 V-I-V-I-A-N P-H-I-L-L-I-P-S.

10 I'm listening to what other people are saying,  
11 and my sentiments are the same. You are not welcome here.  
12 There are so many reasons that it's such a bad place to  
13 establish a lithium battery storage plant. We don't want  
14 it here. We know the risks. We have no idea what kind of  
15 economic impact it's going to have on surrounding  
16 communities, as well as our community, when there is a  
17 fire. It's going to shut down the 14, the railroad, the  
18 Angeles Crest. It's going to shut down everything. It's  
19 going to be huge. Who's going to pay for that? And what  
20 about the fire department? Are you going to pay for more  
21 fire department personnel?

22 It just is beyond me why you would ever do this,  
23 other than the fact that it's so convenient to have that  
24 power plant there that you can just hook into. Well, it's  
25 very short-sighted, and it ain't happening here. We don't

1 want it.

2 MS. LAO: Okay, Dianna Spiegel? Oh, great.  
3 (Indiscernible.) You're fast. Please put your name for  
4 the record. Use the microphone. And we're asking for  
5 comments to be two minutes or less.

6 MS. SPIEGEL: Hi. I'm Dianna Spiegel. I'm a  
7 retired teacher in the school district. My husband is an  
8 L.A. City retired firefighter, so he kind of knows about  
9 these things, too. But I'll just make it quick. All  
10 right.

11 My main concerns are the danger of chemicals in  
12 the air with or without a fire, given the fact of what  
13 could happen. There's no way those things do not emit  
14 things into the ground and air. Just like having a phone  
15 near your body or your ear all day long, they're finding  
16 out now that many things can become toxic, too.

17 Imagine hundreds of those bigger batteries than a  
18 phone down the street less than a mile or a little over a  
19 mile from our home, and other people's homes are within  
20 feet of those batteries, near where we live and we're all  
21 active outside on our properties and raising our families,  
22 then there's what happens if they catch fire? And we've  
23 seen from three other ones that have caught fire, what  
24 happens? Nothing can be done. Toxic fumes are in the air  
25 for who knows how long. Evacuations have to be made. Our

1 homes are filled with the toxic gases, even if we are not  
2 there, probably permanently in the walls and the furniture  
3 and who knows what. Not to mention what it does to us  
4 before we are able to evacuate, breathing that stuff in.

5           Next, we have insurance, which is basically  
6 impossible to get now because of the fires, let alone once  
7 those batteries come in, what's going to happen to our  
8 insurance then?

9           Then the resale of our house. Who wants to pay  
10 what it's worth now at this time period once that largest  
11 battery facility is going to go in down from the street  
12 where we live?

13           And lastly, don't take this personally because  
14 this is a company I know, I don't trust you. I don't know  
15 about anybody else. I think you're not really thinking  
16 about the people who live in this area. You have no idea  
17 what the repercussions of these things could be down the  
18 road, just like nobody knew what cigarettes could do, what  
19 the dumping from factories could do, like the Erin  
20 Brockovich story, her name.

21           MS. LAO: Thank you for your comment.

22           MS. SPIEGEL: I'm done?

23           MS. LAO: Yes.

24           MS. SPIEGEL: Oh, okay. Well, there was a little  
25 bit. Thank you.

1 MS. LAO: Steve Kaplan. Is there a Steve Kaplan?  
2 Is there a Steve Kaplan? Oh, there you go. Please spell  
3 your name for the record, and we're asking for comments to  
4 be two minutes or less.

5 MR. KAPLAN: Steve Kaplan.

6 MS. LAO: No, into the micro. Oh, sorry.

7 MR. KAPLAN: Steve Kaplan, K-A-P-L-A-N. First  
8 name too?

9 MS. LAO: No, it's okay.

10 MR. KAPLAN: Okay, so I'll finish where she left  
11 off.

12 (Indiscernible), to name a few, we're not buying  
13 it. The movement is better storage facilities, doesn't  
14 even know how safe this is. Why risk it in neighborhoods  
15 or near neighborhoods? Sounds like a money -- sounds like  
16 money is talking more than citizens. I don't even need  
17 that.

18 I'm just going to tell you guys, I've been living  
19 up here for 32 years. I don't feel like having my house go  
20 down in value by 50 percent. Sorry. I don't want it going  
21 down 50 percent. And I really am sort of ticked right now  
22 because my insurance just went up 1,000 percent, okay?  
23 Can't get fire insurance. Can't get flood insurance. I  
24 got a barn that sits two foot into a supposed flood line.  
25 I've lived in my house for 32 years. There was never a

1 flood line. All of a sudden, it comes up on a new map.  
2 Now I'm in a flood zone. That cost me another five grand.

3 This is getting ridiculous. You guys, do  
4 whatever you guys think is best. You guys, on the last or  
5 quite a while ago, they asked what we as a community  
6 thought. And we all told you we didn't want it. And the  
7 guy told me, we're going to do it anyway.

8 Take that in consideration when you guys do it  
9 anyway because it ain't going to work. It doesn't do  
10 anything for our city. It doesn't do anything for our  
11 town. It's feeding somewhere else. That's not going to do  
12 us any good.

13 We have power outages all the time. The wind  
14 blows two miles an hour. They shut the power off. And  
15 your little battery thing is going to be coming up and  
16 working. It ain't going to help us. So it's just, we  
17 don't need it here. We don't want it.

18 And who's going to maintain it once you guys all  
19 are done and the people get their money and they get their  
20 incentives and they walk away? I worked for the State of  
21 California for 32 years. I know how things work. They get  
22 it done, they move on, and the stuff's going to sit there  
23 and rot.

24 MS. LAO: Okay, if anybody else came, if you  
25 would like to make a comment, please fill out a blue card

1 on the table in the back with the Public Advisor's Office.  
2 We are here until 8:00, so no rush.

3 Oh, yeah, and for those who came not too long  
4 ago, there's materials in the back table, too, that has  
5 more information about the proceeding, and also there's a  
6 QR code that will take you to a page where you can submit  
7 further comments in writing.

8 (Off mic comment.)

9 COMMISSIONER GALLARDO: We're getting comments  
10 from the audience who is sitting patiently here, thanking  
11 the Energy Commission for the work we're doing, for being  
12 here, for all the diligence shown through the docket. Much  
13 appreciated.

14 So we are waiting until 8:00 in case there are  
15 any other members of the community who decide to show so  
16 that they have an opportunity to make a public comment.  
17 Anyone on Zoom, also welcome to raise your hand if they  
18 haven't already been able to give a comment. I don't have  
19 any good jokes, otherwise I would at least do that. But  
20 thank you, everyone, for joining us. And again, there's  
21 material in the back if you do want to pick it up before  
22 you go.

23 (Pause)

24 MS. LAO: There's a clickety sound. Okay. We  
25 have one more from Kathy MacLaren. And please spell your

1 name for the record. And we're asking that comments be two  
2 minutes or less.

3 MS. MACLAREN: Yes. My name is Kathy MacLaren,  
4 K-A-T-H-Y M-A-C, capital -L-A-R-E-N.

5 Thank you, first, for being here. I really  
6 appreciate that. I don't live in Acton. I live in  
7 Palmdale. But I serve on several different capacities that  
8 people spoke on today. I'm part of the AV EDGE for the  
9 economic development, but I'm also a Palmdale Water  
10 District director and sit on the Watermaster for the  
11 Aquifer. And so mainly I'm speaking because I'm curious to  
12 know and be able to look up all the information, where  
13 they're going to get the water from, all the different  
14 things like that.

15 It's a hard thing, because an elected official, I  
16 always know, I know that the people are very concerned.  
17 But I feel that this Energy Commission and the different  
18 fire people and everyone that spoke truly have the  
19 community's interests at heart. Nobody wants to do  
20 anything bad. And it's hard because a lot of times -- this  
21 Vincent Station, I know because I work for the electricians  
22 and the subcontractors, as well as everything else, so I  
23 know you're getting really safe, good electricians that are  
24 being trained on everything and will go out and train the  
25 fire personnel and do everything. So I know we have our

1 heart into bringing the best people that you can have in  
2 the community.

3           And it's very difficult. I mean, you're worried.  
4 You know, we're worried. You know, a lot of us up in the  
5 Antelope Valley, 100,000 of us drive on the 14. It would  
6 be catastrophic.

7           But I'm glad that this process is happening. It  
8 gives everyone a chance to speak. Everyone was respectful  
9 and I really appreciate that everyone, you know, the  
10 fire --

11           MS. LAO: And thank you for your comment.

12           MS. MACLAREN: -- everyone.

13           MS. LAO: Thank you.

14           MS. MACLAREN: So thank you.

15           MS. LAO: Also a reminder that if you would like  
16 to receive like notices or emails about anything that gets  
17 posted to the docket, you can subscribe to it and you can  
18 find that information with the QR code in the handout in  
19 the back.

20           And I'm going to make another call for those who  
21 are on Zoom. If you'd like to make a public comment,  
22 please use the raise-hand feature, it looks like an open  
23 palm at the bottom of your screen, and -- or if you're  
24 joining us by phone, please press star nine to raise your  
25 hand.

1           Okay, I don't see anything on Zoom.

2           (Pause)

3           COMMISSIONER GALLARDO: All right, everybody,  
4 before we adjourn, just want to make a few remarks here.  
5 We're getting close to adjourning, so just want to make a  
6 couple remarks.

7           So I want to give a big thanks to all the  
8 participants. We had about 70 people, I would guess, in  
9 the room, definitely a full room even if we don't have an  
10 exact number. We had about 90 people on Zoom. So a very  
11 popular event here. We had about 61 comments. So we  
12 really appreciate all that participation, whether people  
13 commented or just attended and listening.

14           I want to thank the applicant as well for, again,  
15 facilitating the site visit, being here to present, being  
16 available, staying through to the end here.

17           The library staff for enabling the venue,  
18 providing us so much support, it's been great to be here.  
19 Very nice venue.

20           Also to CHP providing security and staying with  
21 us and sticking it out. Yes, they do deserve a round of  
22 applause. Keeping us safe.

23           To our interpreters for making our meeting more  
24 accessible to the Spanish speaking community, appreciate  
25 that.

1           Also to our court reporter, making sure  
2 everything's been accurate. It will be in writing and  
3 accessible soon on the webpage.

4           And then to our staff at the Energy Commission,  
5 our STEP Division, which is the policy division that leads  
6 this effort on Opt-In, our Chief Counsel's Office that  
7 provides us legal expertise.

8           Our IT Office that helps set everything up.  
9 Chris over there on his own, doing a lot and running  
10 around.

11           MPCO, who's our media team and making sure that  
12 if we have any questions, comments from media, that those  
13 are handled.

14           Our Public Advisor's Office who handled the  
15 public comments so nicely and smoothly.

16           Our Executive Office too for providing support.

17           And then to my Advisor, Jimmy, in the back there,  
18 helping out with all kinds of tasks. So thanks, Jimmy, for  
19 doing that.

20           All right, with that said, I'll do a last call  
21 for comments on Zoom or in the room. I'm not seeing any  
22 hands in the room. Do we see any hands on Zoom? All  
23 right.

24           Well, with that, we will adjourn. Thank you  
25 again, everyone, for enabling us to be here and joining us.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25


(The meeting adjourned at 7:57 p.m.)

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 9th day of April, 2026.



ELISE HICKS, IAPRT CERT\*\*2176

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



April 9, 2026

MARTHA L. NELSON, CERT\*\*367