

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE
CALIFORNIA ENERGY COMMISSION

California Energy Commission DOCKETED 12-BSTD-01
TN 2976 AUG 05 2013

STAFF WORKSHOP ON
SCOPING WATER HEATING SYSTEMS FOR FUTURE
BUILDING ENERGY EFFICIENCY STANDARDS

CALIFORNIA ENERGY COMMISSION
HEARING ROOM A
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

TUESDAY, JULY 16, 2013
10:04 A.M.

Reported by:
Peter Petty

APPEARANCES

Staff

Dave Ashuckian, Deputy Director, Efficiency & Renewable
Energy Division
Martha Brook, High Performance Buildings & Standards
Danny Tam, High Performance Buildings & Standards
Eurlyne Geiszler, Office Manager, High Performance
Buildings & Standards
Doug Herr, High Performance Buildings & Standards
Gary Flamm, High Performance Buildings & Standards
Leah Mohney, Energy Efficiency Research Office
Owen Howlett, High Performance Buildings & Standards

Presenters

Amin Delagah, PG&E, Fisher-Nickel, Inc.
Yanda Zhang, TRC Companies, Inc.
Marc Hoeschele, Davis Energy Group

Stakeholders

Larry Weingarten, Water Heater Rescue
Larry Acker, D'MAND Systems
Ahmed Abdullah, So Cal Gas
Nehemiah Stone, Benningfield Group, Inc.
Edward Osann, NRDC
Jim Lutz, PE, LBNL
Phil Pratt, Southern CA Gas Co.(Sempra Energy)
Gary Klein, Affiliated International Management (AIM)
Patrick Splitt, App-Tech
Jonathan Changus, Northern CA Power Agency (NCPA)
Greg Cobabe, Housing Community Development, Codes &
Standards
Carl Hiller, AET
Robert Davis, PG&E
Peter Grant, LBNL
Larry Brand, Gas Technology Institute (GTI)
Thomas Enslow, Attorney at Law, Adams, Broadwell,
Joseph & Cardozo, rep CA Pipe Trades Union
Gerald Van Decker, RenewABILITY Energy Inc.
George Nesbitt, HERS Rater
Christine Tam, City of Palo Alto
Frank Stanonik, AHRI
Jon McHugh, McHugh Energy Consultants Inc.

I N D E X

	<u>Page</u>
1	
2	
3	
4	
5	
6	
7	
8	
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	

Introduction	
Dave Ashuckian, Deputy Director, Efficiency & Renewable Energy Division	4
Opening Comments	
Martha Brook, High Performance Buildings & Standards	5
Introductions & Housekeeping	
Danny Tam, High Performance Buildings & Standards	5
Workshop Presentations	
The Importance of Hot Water in Commercial Buildings in California - Amin Delagah, PG&E, Fisher-Nickel, Inc.	10
DHW Systems in Multi-family Buildings - Yanda Zhang, TRC Companies, Inc.	43
Hot Water in California - Single Family Perspective - Marc Hoeschele, Davis Energy Group	111
Lunch (1:06 p.m. to 2:04 p.m.)	141
Scoping Water Heating Systems Workshop	
Title 24 Rulemaking Overview - Danny Tam, High Performance Buildings & Standards	141
Breakout Sessions	195
Public Comments	196
Adjourn (5:23 p.m.)	244
Reporter Certificate	245
Transcriber Certificate	246

P R O C E E D I N G S

1
2 JULY 16, 2013 10:04 A.M.

3 MR. ASHUCKIAN: ... with the Commission
4 and I want to thank you for coming to our very
5 first of a series of workshops to help develop
6 our next round of building standards for 2016.

7 Water heating is a major portion of our
8 energy portfolio in buildings, comprising
9 somewhere in the range of between 15 and 30
10 percent depending on the climate zone. And as
11 you all know we are striving to achieve our goal
12 of zero net energy homes by 2020. We have two
13 rounds of standards between now and that period
14 of time before we achieve that goal. And water
15 heating will be a major factor in trying to
16 reduce the energy consumption of existing -- of
17 new buildings and major retrofits in order to
18 help achieve that zero net goal.

19 Today we'd like your input on a bunch of
20 areas; essentially what research and development
21 you think might be necessary to help achieve our
22 goal of reducing energy consumption. What
23 standard practices are currently out there that
24 can help reduce the energy consumption as well as
25 other areas that you think might improve the use

1 of energy reduction for water heating. As you
2 all know we are preempted by federal regulations
3 on the actual water heater itself, so we have to
4 achieve energy savings from everything around the
5 water heater that helps consume energy as well.

6 So with that I will actually turn it
7 over to Martha to talk about the rest of the
8 agenda for today, but again, thank you for
9 attending. And I look forward to your input on
10 this very important subject.

11 MS. BROOK: Hi, I'm Martha Brook with
12 the Energy Commission. I'm a senior mechanical
13 engineer and one of the technical leads on the
14 standards development efforts here at the Energy
15 Commission. Danny Tam is organizing this
16 workshop for CEC staff. And he's going to be
17 getting us through the agenda.

18 Danny, is now the right time we want to
19 do introductions?

20 MR. TAM: What ma'am?

21 MS. BROOK: Is now the time we want to
22 do introductions?

23 MR. TAM: Yes, let's do the
24 introductions. All right, I'm Danny Tam from the
25 Energy Commission. I work in the Building

1 Standard office; if we could just go around the
2 room?

3 MS. BROOK: Just start here and rotate
4 through.

5 MR. WEINGARTEN: I'm -- now I'm Larry
6 Weingarten. I've been involved in various ways
7 in hot water.

8 MR. KLEIN: All right, please sir you've
9 got to move much closer to the microphone.

10 MR. WEINGARTEN: I'm Larry Weingarten
11 and have been involved in the sort of hot water
12 from the contractors' point of view.

13 MR. ACKER: I'm Larry Acker with
14 Advanced Conservation Technology, Inc. We've
15 been dealing with hot water issues and products
16 to distribute hot water for over 25 years. And
17 I'm here to hear what's going on.

18 MR. ABDULLAH: My name is Ahmed,
19 Southern California Gas Company, I'm the emerging
20 technologies program manager.

21 MR. STONE: Nehemiah Stone with the
22 Benningfield Group

23 MR. OSANN: I'm Ed Osann, I'm team
24 leader for water efficiency for NRDC's water
25 program, that's Natural Resources Defense

1 Council.

2 MR. LUTZ: Jim Lutz, Lawrence Berkeley
3 National Lab.

4 MR. DELAGAH: Amin Delagah, PG&E Food
5 Service Technology Center and also Fisher-Nickel,
6 Inc.

7 MR. PRATT: I'm Phil Pratt, Codes and
8 Standards Southern California Gas Company.

9 MR. KLEIN: Gary Klein, Affiliated
10 International Management. I'm in hot water.

11 MR. SPLITT: I'm --

12 MS. BOOK: Why don't you guys come up
13 here, there's more equipment, there you go.

14 MR. SPLITT: Yeah, are we on? I'm Pat
15 Splitt from App-Tech and Santa Cruz Energy
16 Consultant.

17 MR. KLEIN: Closer to the mic, Pat?

18 MR. SPLITT: How about now? Okay, I'm
19 Pat Splitt from App-Tech and Santa Cruz Energy
20 Consultant, and also do a lot of residential
21 hydronic design.

22 MR. CHANGUS: Jonathan Changus with the
23 Northern California Power Agency.

24 MR. HELFT: Bruce Helft, CEC staff.

25 MR. COBABE: Greg Cobabe, Housing

1 Community Development Codes and Standards.

2 MR. HILLER: Carl Hiller, Applied Energy
3 Technology and former chair of ASHRAE TC 6.6
4 Service Water Heating System Committee.

5 MALE VOICE: (Overlapping) Hello?

6 MR. DAVIS: Robert Davis, Pacific Gas
7 and Electric Company.

8 MR. HOESCHELE: Marc Hoeschele, Davis
9 Energy Group

10 MR. GRANT: Peter Grant, Lawrence
11 Berkeley National Lab

12 MR. BRAND: Larry Brand with the Gas
13 Technology Institute.

14 MR. ENSLOW: Tom Enslow with Adams and
15 Broadwell, here today on behalf of the California
16 State Pipe Trades.

17 MS. GEISZLER: Eurlyne Geiszler, Office
18 Manager, Building Standards Development Office,
19 Energy Commission.

20 MR. HERR: Doug Herr, CEC staff.

21 MR. FLAMM: Gary Flamm, Supervisor,
22 Building Standards Development Unit.

23 MS. MOHNEY: Leah Mohney with the Energy
24 Commission's Research and Development Division.

25 MR. TAM: Okay, I'm going to go over the

1 people that are on the WebEx. We actually have a
2 whole bunch of people: Anthony Bradley, Brandon
3 De Young, let's see Charlene Spoor, Christine
4 Tam, David Bixby, Dalia[sic] (Delia) Estrada,
5 Eddie Huestis, Felix Valenzuela [sic]
6 (Villanueva), Gabe Ayala, might as well -- okay,
7 George Nesbitt and Gerald Van Decker, Jeff
8 Miller, Jonah (Schein), Keith, Luke Sires, Matt
9 Fong, Neil McDonald, Payam (Bozorghehami), Peter
10 Mayer, Richard Harris, Sid Abma, Stephen
11 McMurtry.

12 I'm going to go over the agenda real
13 quick and then we'll have Amin to talk about
14 commercial first.

15 MS. BROOK: Danny, can you do the little
16 bit of housekeeping we're supposed to do every
17 time before we get underway to (inaudible)

18 MR. TAM: Okay, yeah. In case of
19 emergency there's an exit to the left of the
20 building and also the main building when you --
21 the main door where you came in at. Once you
22 exit the building, Roosevelt Park is right across
23 to your corner from our building. Go and meet
24 there and we'll take accountability for everyone
25 who's here in case of emergency, okay?

1 And so we'll start with Amin talking
2 about commercial buildings and then Yanda will
3 talk about multi-family more closely. We'll talk
4 about single-family. I myself will talk about an
5 overview of the rulemaking process for Title 24
6 and also how we calculated the energy budget in
7 Title 24. Gary Klein's going to briefly talk
8 about some examples for multi-family and then
9 we'll break for lunch.

10 In the afternoon we'll have a
11 brainstorming section to talk about all the
12 issues that we have in water heating and
13 hopefully we'll come up with some sort of
14 solutions. And hopefully by 4:30 we'll wrap up
15 the meeting.

16 Okay, if I can have Amin come up?

17 MR. STONE: Sorry, I'd like to ask a
18 question, Danny. I couldn't hear all the names
19 you read of who's online. Is Yanda online,
20 because he's not in the room?

21 MR. TAM: I don't see him online.

22 MS. BROOK: (Inaudible)

23 MR. DELAGAH: That's what I was afraid
24 of, how's it going everybody? My name is Amin
25 Delagah, I work at the PG&E Food Service

1 Technology Center. I also work for Fisher-
2 Nickel, Inc. We operate the FSTC. And I'm a
3 project engineer and I've been working with hot
4 water for the last five years.

5 So I wanted to talk today about the
6 importance of hot water in commercial buildings
7 in California. And we actually did a couple
8 different research projects. One was a PIER
9 project a couple of years ago characterizing hot
10 water systems in commercial kitchens. And
11 recently we also worked the ENERGY STAR program;
12 with them we were looking at the upcoming
13 commercial water heater specifications and in
14 that process we were able to examine a bunch of
15 commercial segments.

16 And these are all the lists of the
17 segments we looked at. And we looked at the
18 number of facilities and how much hot water they
19 used and kind of characterized the efficiency and
20 kind of came up with a gas load for each of these
21 segments. So mainly we looked at a bunch of
22 facilities with food service, but it also
23 included facilities like hotels and we also
24 looked at other facilities like office buildings
25 and, you know, the salon sector also uses a

1 significant amount of hot water.

2 I want to kind of go through a little
3 bit about the gas load and to start with here's
4 the number of facilities, commercial facilities,
5 that use a significant amount of hot water. And
6 as you can see, office buildings, there's a large
7 number of those facilities. About almost 60,000-
8 55,000 facilities that use hot water. When you
9 actually take a look overall that's about 200,000
10 facilities in California that have moderate to
11 heavy hot water usage. And about 165,000 of
12 those facilities use natural gas for water
13 heating.

14 We're going to take a closer look at
15 full-service restaurants, as an example of how we
16 estimate the natural gas usage of the load of
17 that segment. And the way we do it is initially
18 at the PIER Project we look at the recount data,
19 which gave us about 35,000 facilities. And we
20 estimated from a lot of our site survey use that
21 about 33,000 gas water heaters were installed.
22 And from there we have done a lot of field
23 monitoring to show that an average full-service
24 restaurant uses 2,500 gallons per day and it's
25 open almost every day of the year and at about a

1 80-degree temperature rise.

2 We kind of did this process for each
3 segment based on our monitoring work and
4 estimates and also work that other consultants
5 had done in actual field projects. And what we
6 saw was that, you know, when you look at 90
7 percent of the facilities operate standard
8 efficiency water heaters we're able to make an
9 estimate of the average efficiency of water
10 heaters are normally around 65 percent. Most
11 full service restaurants have recirculation
12 systems. That's why the efficiency, the
13 operating efficiencies are a little bit lower.

14 And this is the equation we used to
15 estimate the gas load for all these types of
16 facilities. Basically to estimate the gas load
17 it's the daily flow rate times the specific heat
18 of water and times of density of water and
19 multiplied by the temperature rise divided by the
20 operating or system efficiency of the water
21 heater. And when you go through the calculations
22 it's about 25 therms a days or a annual facility
23 gas use of 9,300 therms per year. And if you
24 actually multiply it by the number of facilities
25 it's about 288 million therms.

1 So we did the same process with all the
2 different facilities that we mentioned earlier.
3 And to kind of back up to this annual facility
4 gas use when you plot all the different types of
5 facilities, for example restaurants, full-service
6 restaurants, are not the biggest user per
7 facility as compared to the larger industrial or
8 institutional facilities. But when you actually
9 account for the number of facilities in each of
10 these segments you see that restaurants,
11 especially quick-service or full-service
12 restaurants, account for about half the hot water
13 usage in terms of gas load for the commercial
14 sector. But overall we estimated that there is
15 620 million therms of gas used annually for these
16 moderate to high hot water load segments.

17 And to compare the research that we have
18 done to a few other -- a couple other research
19 projects. One in 2000, the California Public
20 Utilities Commission did a study that showed that
21 overall it used data from three major investor-
22 owned utilities. And it showed that commercial
23 facilities use about 2,100 million therms per
24 year. So although this data is dated by 13 years
25 it was really good, because part of the work was

1 that 30 percent of this 2,100 million therms was
2 for water heating, which actually equates to
3 about 800 million therms annually.

4 So we also looked at another study, this
5 was a 2006 CEUS survey; it was a California
6 Energy Commission Report. And in this study it
7 showed that restaurants used 72 million therms
8 annually and commercial building types 407
9 million therms. The total gas usage in the
10 commercial sector was submitted at 1,283 million
11 therms. So it's actually a lower estimate than
12 the two studies I just mentioned.

13 And moving on to kind of the findings of
14 these three studies basically our city, the FSTC,
15 and the CPUC study estimates compared pretty
16 well. You know, we only looked at the medium to
17 large-usage facilities. They looked at all the
18 facilities and that's 680 million to 800 million
19 therms. It's kind of somewhere in that range for
20 hot water use. When you look at the CEUS study,
21 the 72 million therms for food service really
22 appears to be underestimated.

23 And basically where I'm trying to go
24 with this is that the commercial hot water use is
25 very significant. The hot water load at about

1 800 million therms is very significant and if you
2 actually throw in the electrical water heater
3 usage at about 70 million therms you're looking
4 at a total commercial load of 870 million therms
5 in commercial facilities. And we really feel
6 that that's a conservative estimate. It could be
7 as high as 1 billion therms.

8 So really where we go from there is well
9 how can we get the savings? You know, how can we
10 reduce this and our perspective for the road map
11 that is, you know, right now only 20 percent of
12 commercial facilities have condensing water
13 heaters in California. And this is compared to
14 more mature parts of the country where they're
15 used to condensing technology like the Midwest
16 where 60 percent of water heaters are condensing.

17 And we actually have a really good
18 payback in a lot of commercial facilities, the
19 average payback is about 1.5 years. So there's
20 really no reason why we should, you know -- we
21 have such a low I guess penetration rate. So I
22 know that as mentioned earlier that we can't
23 mandate condensing water heaters, but maybe we
24 can incentivize condensing water heaters in
25 certain segments where the payback is much

1 quicker.

2 You know another thing is the
3 optimization of distribution systems. Obviously
4 insulating hot water pipes is something that's
5 mandated, but not insulation of all hot water
6 pipes. And that's something that we feel that is
7 really important, especially for improving hot
8 water delivery performance and also really it's
9 just going to improve the efficiency of the
10 system. And there's been some recent laboratory
11 testing done at the PG&E Applied Technology
12 Services that really kind of can shine some light
13 into this area. We definitely feel like things
14 like the recirculation pump timer is definitely a
15 useful thing to mandate with commercial systems.
16 And we definitely want to encourage -- these are
17 all of the existing systems, there's a lot of
18 retro-commissioning we can do. But with the new
19 systems we'd really like to integrate demand
20 circulation.

21 One thing that we recently learned in a
22 lab is when you have a condensing water heater
23 with a continuous recirculation system you lose
24 almost the entire condensing availability. So
25 you're almost -- when you're putting a condensing

1 water heater in, in a large full-service
2 restaurant for example, it's operating a majority
3 of the time as a standard efficiency water
4 heater. Sure there's less heat losses from the
5 tank, but overall you lose most of that
6 efficiency. And that's something that maybe
7 moving towards demands circulation or other
8 circulation system scenarios away from continuous
9 recirculation we can achieve higher savings. And
10 we also want to promote point of use or
11 decentralized hot water systems.

12 And finally the biggest bang for the
13 buck is actually really looking at the water
14 using and user implement of. You know, for
15 example in restaurants an old dishwasher can use
16 about 75 percent of the hot water used in a
17 facility. We've seen that in several facilities
18 and we feel like that's a really great place to
19 go after, not just energy savings, but water
20 savings as well.

21 And let's, you know, we still have some
22 really mature actually technologies out there
23 like refrigerate-heat recovery, which is used
24 currently with supermarkets. But we feel like it
25 has a lot of good applications in laundry and

1 also in food service. And dishwasher waste heat
2 recovery is one of the technologies that's really
3 been coming on strong and we'd really like to
4 support that further.

5 So that's all really I really had on a
6 commercial perspective. Thank you very much,
7 everybody. Martha?

8 MS. BROOK: Sure, can you explain a
9 little bit for me --

10 MR. KLEIN: Microphone.

11 MS. BROOK: Can you explain a little bit
12 about why in restaurant situations with
13 recirculation that condensing water heater is
14 acting like a standard water heater most of the
15 time?

16 MR. DELAGAH: Sure, well when you have
17 that incoming -- when you're having continuous
18 recirculation and you're sending out 145-degree
19 water it's usually coming back at about 140
20 degrees or 135 degrees. When you have that water
21 coming in and mixing inside the tank you no
22 longer have like good separation of the cold
23 water the bottom of the tank, and hot water on
24 top. It's no longer stratified in that way. So
25 having all that warm water at the bottom of the

1 tank you don't get the condensing operation to
2 happen, so if you can't condense the water vapor
3 then you lose that ten percent bump in
4 efficiency. Yes?

5 MR. OSANN: In one of the studies you
6 pointed to earlier in your presentation, which
7 concluded 38 percent of gas use was for water
8 heating was that in the commercial sector?

9 MR. DELAGAH: Yes.

10 MR. OSANN: Specific to the commercial
11 sector, but statewide or --

12 MR. DELAGAH: Yes, that was the CPUC
13 study from the year 2000. It's available online.

14 MR. OSANN: Yes.

15 MR. HILLER: Hi, Carl Hiller, a question
16 and a comment. First of all on office buildings
17 do you have any information on where hot water is
18 used typically in office buildings? Is it easy
19 to collect that kind of information, I kind of
20 think I know but I'd like to hear what you --

21 MS. BROOK: There's very limited data on
22 our field research on office buildings. Office
23 buildings do vary from very small office
24 buildings to a very large high-rises. We did
25 some of those estimations for the ENERGY STAR

1 Program. They're very just limited to what was
2 out there. We didn't really look into the
3 specific end uses, it was just more just some
4 general things that we could glean and kind of
5 made some basic estimates.

6 MR. HILLER: I'm not sure I understood,
7 your pod's a little far from my tired eyes. It
8 seemed to me like that was a pretty large
9 percentage of those office buildings if I
10 remember it correctly.

11 MS. BROOK: It was because it was a
12 number of water heaters. I think that's why, but
13 he should bring it up again. I (overlapping)
14 yeah.

15 MR. HILLER: Okay, yeah.

16 MR. DELAGAH: So there's about 55,000
17 office buildings, but you've got to remember not
18 every office building has a commercial water
19 heater. They typically have a lot of residential
20 water heaters or even boilers, which boilers
21 would classify under this. But it's the
22 residential water heaters, you know, they're so
23 small that we almost consider them a different
24 aspect.

25 MR. HILLER: Nothing like business?

1 MR. DELAGAH: Yeah, it's a number of
2 facilities but when you look at the actual -- let
3 me go up. When you actually look at the gas
4 usage, well let me go one more slide. When you
5 actually look at the overall hot water load over
6 the area there's a number of facilities there,
7 but they don't use that much hot water. So
8 that's why, you know, 50 million therms per year
9 is the estimate that we came up with.

10 MR. HILLER: Yeah, in the ASHRAE circles
11 we've been planning on proposing a research
12 project to ASHRAE on office building hot water
13 use. And part of the reason for that is we think
14 there's a lot of low-hanging fruit to be had
15 there even, you know, just because there's a
16 large number of such buildings. Even if each
17 building doesn't use all that much hot water
18 there's a lot of buildings that could be
19 substantially improved. That's why we're
20 proposing the research project.

21 The comment I was going to make is to
22 make everybody aware that I am a research
23 contractor for ASHRAE on monitoring hot water use
24 in a couple of hotels. One of those hotels was
25 here in Sacramento, the Embassy Suites right down

1 by the river. That's been under full monitoring
2 for about a year now and will continue for
3 another year measuring three separate systems
4 there. The main gas room hot water circuit, it's
5 got two full-service restaurants on their own
6 circuit and it's also got a small laundry circuit
7 and we're monitoring that. Eventually that'll
8 all be reported. So far we're finding
9 information consistent with what you've been
10 saying.

11 It's amazing to me how much hot water
12 restaurants use, it's a significant percentage of
13 the total hotel hot water use is that do full-
14 service restaurants.

15 MR. DELAGAH: Great, thanks for your
16 comments. Any other questions?

17 MR. TAM: Amin, there's a question
18 online from Gerald Van Decker.

19 MR. DELAGAH: Okay.

20 MR. VAN DECKER: Yes, I have two
21 questions. Is the 1.5 year payback for the
22 condensing water heaters based on upgrading to
23 condensing water heaters when the water heater
24 needs to be replaced, that is based on
25 incremental costs versus savings?

1 MR. DELAGAH: Yes, it's based on either
2 a burnout or in a new facility, but I think we
3 based it on burnout. So we're taking into
4 account the incremental costs between a standard
5 efficiency and a high efficiency versus a planned
6 replacement where you want to be taking into
7 account the costs of a standard efficiency water
8 heater.

9 MR. VAN DECKER: Okay, that's fair, a
10 good thing to do. A second question, you have
11 dishwasher waste heat recovery, by that are you
12 talking with drain water heater recovery or are
13 you're talking about flue or both?

14 MR. DELAGAH: Both.

15 MR. VAN DECKER: Or I shouldn't say
16 flue, I should say exhaust.

17 MR. DELAGAH: Yes, exhaust air heat
18 recovery is mature; the manufacturers all
19 integrate that system. Our European dishwashing
20 manufacturers have integrated drain water heat
21 recovery and also heat pump as a secondary
22 exhaust to air heat recovery measured. We have
23 some American manufacturers that are brought on
24 add-on drain water heat recovery devices. Those
25 are all things that we should consider for

1 future, you know, future works, more research.

2 MR. VAN DECKER: Have there been any
3 research with existing technology -- drain water
4 heat recovery is that on like what's used in
5 residential?

6 MR. DELAGAH: For commercial facilities
7 I'm aware of some research being done. There's
8 actually a webinar coming up soon on that
9 technology, but there has been work done in
10 laundry and some limited work in food service.
11 And we've done some lab research. But field
12 research is a little bit looser, especially in
13 food service because you have, you know, oils and
14 grease that go down the drain. And that's
15 definitely something that's sometimes difficult
16 to take that research on, because if you do mess
17 it up you might get a call in the middle of the
18 night. So we haven't yet taken that on, but we
19 definitely appreciate if manufacturers want to
20 take on field research in that area.

21 MR. VAN DECKER: Yes, I've expressed
22 interest with Fish-Nick to do it. We have a
23 number of installations already actually running,
24 so okay I'll end with that, thank you.

25 MR. DELAGAH: Great, yeah. We'd love to

1 hear about your results, Gerald.

2 MR. VAN DECKER: Thank you.

3 MR. DELAGAH: Yes?

4 MR. OSANN: It was mentioned earlier
5 that there is a federal preemption on water
6 heaters per se, but I don't believe there are any
7 minimum federal efficiency standards for
8 commercial dishwashers. So presumably that's an
9 option that's still open to the Commission.

10 MR. DELAGAH: That's really good to
11 know. Of course, ENERGY STAR took the step of
12 revising their standards, which is great to see.
13 We haven't seen any work in recognizing heat
14 recovery yet. Since it something that's viable,
15 but there is some Health Department, I would say,
16 hoops that we have to go through to kind of
17 really highlight the technology, because it's
18 also ventless. You don't require a dedicated
19 ventilation system. That also saves energy, but
20 to get through the Health Department hoops that's
21 going to take, you know, a few more years to
22 really get it accepted we feel like. But it
23 would be definitely nice to do more research and
24 to get more validation of the technology.

25 MR. GRANT: All right, Peter Grant, LBNL

1 here. So another question about that 1.5 year
2 payback period, at one point you mentioned that
3 these condensing water heaters typically end up
4 operating as non-condensing, because of the
5 return water temperature in the recirculation
6 loop. So when you calculated that 1.5 years were
7 you taking that effect into account or is that
8 just looking at the rating?

9 MR. DELAGAH: When we initially did that
10 study and when these slides were initially put
11 together we didn't have that research yet. So
12 that came by in the last month when we just
13 completed our recent PIER Project. It would have
14 -- we would have to go back and really look at
15 that. There are savings over standard storage
16 water heaters, significant savings. It's not as
17 big as we initially estimated, but there's
18 definitely savings and it all really depends on
19 also the amount of hot water use of the facility,
20 because that means you have a lot more cold water
21 coming into the water heater that can affect.
22 You might have more condensing in that situation.

23 MR. GRANT: Okay, so with you just
24 getting that information in the last month this
25 is probably premature, but do you have like any

1 sort of gut feel of how it all works out at this
2 point?

3 MR. DELAGAH: In terms of payback?

4 MR. GRANT: Yeah.

5 MR. DELAGAH: I would say it might bump
6 the payback to 2, 2 and a half, something like
7 that.

8 MR. GRANT: That's still quite good.

9 MR. DELAGAH: Yeah.

10 MR. GRANT: Thank you.

11 MR. DELAGAH: Sure.

12 MR. STONE: This is Nehemiah Stone. So
13 I mean did you take a look at what the schedule
14 is for each of these to figure out if condensing
15 was the right solution or if, you know, a local
16 electric demand water heater or I mean whatever?
17 To what extent did the schedules play into --

18 MR. DELAGAH: You mean the profiles?

19 MR. STONE: Yes.

20 MR. DELAGAH: So for the work that we
21 did on both for the PIER Project, that was the
22 bulk of the work, and also for the ENERGY STAR,
23 it was focused on gas water heaters. And so we
24 really didn't look at other types of water
25 heaters, but yes the profiles do have some

1 significance. The majority of the segments we
2 looked at were moderate to high hot water load
3 facilities. So in terms of standby loss and all
4 those things it's not like a residential facility
5 where that has a big component.

6 In commercial facilities a standby loss
7 of say a water heater is very small, less than
8 one percent typically of the daily hot water
9 loads, so --

10 MR. STONE: Does that include the
11 standby losses in the distribution system?

12 MR. DELAGAH: No.

13 MR. STONE: Or you're just talking about
14 that water heater?

15 MR. DELAGAH: Yeah.

16 MR. STONE: That's kind of what I was
17 trying to get at though was the improving the
18 efficiency of the water heater is one way to go,
19 but as you pointed out at the very beginning a
20 lot of it has to do with the distribution.

21 MR. DELAGAH: Absolutely.

22 MR. STONE: And so the selection of what
23 would be the right equipment would take that into
24 account and that would be linked to the profile
25 of the use.

1 MR. DELAGAH: Yeah, in my closing
2 remarks I didn't just mention condensing water
3 heaters I also mentioned -- oops, let me go back.
4 You know, we really need to look at distribution
5 systems are a huge part. The more we study
6 distribution systems the more we realized that a
7 significant part of the heat loss occurs,
8 especially in the type of facilities you work
9 with: multi-family, supermarkets, any of those
10 facilities.

11 You know, for example in a supermarket
12 on a day that they're not even open and not using
13 any hot water they still use three quarters of
14 the gas use for water heating versus a day that
15 they were open. So, you know, in any of these
16 large facilities there's definitely a huge role
17 for going to a decentralized type of system. And
18 that's something that we can definitely look at
19 for Title 24. Yes?

20 MR. OSANN: You mentioned about a
21 universe of about 200,000 facilities with modest
22 to heavy hot water in the state? Did any of your
23 data give you an indication of what the rate of
24 new connections is? I mean, how much is that
25 growing typically?

1 MR. DELAGAH: From I would say about ten
2 percent, but during the recession probably less
3 than we were going through in the last five
4 years. It's probably is picking back up again.

5 MR. STONE: Ten percent over what period
6 with that growth?

7 MR. DELAGAH: Well, I mean like every
8 year you might have nine water heaters going to
9 existing facilities and one water heater going to
10 a new facility or a hot water system. Is that
11 what you mean?

12 MR. STONE: That's one way of looking at
13 yeah, okay.

14 MR. HILLER: Yeah, Carl Hiller again. A
15 lot of good points here, I'd like to add some
16 comments. First of all in terms of the amount of
17 energy losses due to recirculation loop I've done
18 some research on that, probably some papers on
19 schools. And we have strong suspicions that
20 office buildings are very similar. In things
21 that tend to be sink-use dominated, hand-washed
22 sink dominated the total energy use that goes to
23 make up the heat loss off the loop, at least in
24 the school that I monitored, was 91 percent of
25 the energy use. And we suspect office buildings

1 are very similar to that, so you're looking at
2 probably 90 percent or more of the total energy
3 use is heat loss off the loop.

4 So there's a lot of room for improvement
5 in hot water distribution system design and total
6 system design to improve the efficiency. And
7 that also applies to how effective a condensing
8 water heater is. One of the issues is that
9 people apply currently, condensing water heaters
10 like they weren't condensing water heaters. They
11 just stick them in the way they've always stuck a
12 water heater in and that's not the best way to
13 apply a condensing water heater. You need to
14 change your system design to maximize the
15 efficiency of the condensing part of the system.
16 So again it's a matter of teaching people what to
17 do and it's a relatively minor modification. But
18 there are simple things that can be done to
19 maximize the efficiency of a high-efficiency
20 equipment, but you have to do it and we have to
21 teach them how to do it.

22 And one final comment is something that
23 we should all keep in mind with these discussions
24 is that in commercial, and especially in like
25 hotels, which are highly dependent on their

1 customer satisfaction ratings on hot water
2 adequacy. Over-sizing/redundancy are the norm,
3 so you look at a hotel for example and there's at
4 least 100 percent backup if not more. I wouldn't
5 call that oversizing, but really you've got twice
6 as much capacity as you need. Because if
7 something fails you want to keep your customers
8 having hot water, so the backup system or the
9 lead lag chiller kind of concept will go into
10 effect. So it really impacts the economics, so
11 that we have to keep that in mind.

12 We've seen some installations where
13 let's call it oversizing is a factor of ten and
14 that's commonplace, because especially with
15 conventional technologies the cost of doubling or
16 quadrupling the heating capacity or the heating
17 rate, is small. And so it's commonly done, but
18 that really impacts both how we calculate the
19 effectiveness of alternatives where you don't
20 want to do that kind of oversizing and just how
21 efficient everything's going to turn out when
22 you've done that oversizing. A lot of cycling
23 losses and that sort of thing, so these are all
24 important things we need to consider in our
25 discussions on what should be done.

1 MR. DELAGAH: Thank you, Carl. I
2 definitely agree with all those points, and it
3 just really highlights the amount of work that's
4 needed in studying commercial segments.
5 Especially segments that we have not really spent
6 enough time studying and really getting an
7 understanding of efficiencies in all these
8 different commercial segments. I know we've done
9 some work in multi-family or food service, but
10 there's a lot of segments that we haven't
11 covered.

12 MR. BRAND: Yeah, Amin I just wanted --

13 MR. DELAGAH: Larry?

14 MR. BRAND: -- Larry Brand from GTI, I
15 brought the results of the PIER Project with me.
16 And maybe we could just talk about it at the
17 breakout on the commercial side, because it does
18 do a nice chart plot of the effects of different
19 recirculations, just control system approaches
20 and condensing versus noncondensing under
21 different scenarios. So we could share that
22 later.

23 MR. DELAGAH: Oh.

24 MR. STONE: Can I suggest that that's
25 not something talked about on the break, but it

1 really should be part of this discussion if you
2 can put the results up?

3 MR. KLEIN: I think he meant the speaker
4 in the breakout session this afternoon.

5 MR. BRAND: Yeah, the breakout.

6 MR. STONE: Breaking out, okay.

7 MR. BRAND: Yeah, the breakout.

8 MR. STONE: My hearing aid only works
9 half the time, I didn't catch that.

10 MR. BRAND: You got the break part.

11 MR. KLEIN: Okay, Amin this is Gary.
12 How do you think the split is between the
13 restroom areas in terms of the hot water use
14 compared to the kitchen? I'm assuming it's a
15 huge amount in the kitchen compared to the
16 restrooms?

17 MR. DELAGAH: Good assumption, Gary.
18 The work that we've done, the average hot water
19 use per hand-sink is ten gallons per day. This
20 is like with like a 2 GPM aerator, so the hand
21 sinks are a very small component. A small quick-
22 service restaurant might use 500 gallons a day,
23 so having three or four hand sinks that's ten
24 percent. Now in a full-service restaurant maybe
25 they have eight hand sinks, but they use on

1 average 2,500 gallons per day so that's, you
2 know, a much smaller percentage.

3 MR. KLEIN: So to follow up on that
4 then, as best I can tell the bathroom facilities
5 are almost never close to the kitchen. Certainly
6 not in terms of the way the pipe typically runs,
7 so it almost makes sense to think about them as
8 completely separate uses with localized water
9 heaters. Is that something you guys have been
10 looking at?

11 MR. DELAGAH: Yes. Yeah, definitely
12 we've been looking in that direction as well as
13 we're going towards these heat recovery
14 technologies. The dishwasher, for example, used
15 to take in 140-degree water. With the new
16 technologies, with the exhaust air heat recovery
17 you can -- we have dishwashers that only take in
18 cold water. So they can be designed, they don't
19 have to be on a hot water system anymore or the
20 ventilation system, so they're their own
21 appliance now.

22 When you start taking away a bar
23 dishwasher and a dishwasher in the kitchen you
24 can now turn down the temperatures from 145-150
25 to 125-130, so there's definitely savings there

1 as well as sizing down the pipes. And going away
2 from continuous recirculation to more just simple
3 piping just for the main hot water uses in the
4 kitchen, like a three-comp sink or mop sink, and
5 then doing some as you said point of use for the
6 small uses like the far-off laboratory sinks.

7 MR. KLEIN: Or some way of demand
8 priming and good insulation, the same strategies
9 hold.

10 MR. DELAGAH: Exactly, yep.

11 MR. KLEIN: So you don't need multiple
12 water heaters, but you do need to rethink the
13 plumbing layout.

14 MR. DELAGAH: Yeah, and when you look at
15 for the customer they save all that copper piping
16 in new facilities. You know, the paybacks are
17 really good; it's almost a full offset.
18 Depending on the strategy you want to go you can
19 go partially optimize or fully optimize and we
20 can talk about that later on this afternoon
21 officially.

22 MR. CHANGUS: Just a quick question,
23 Jonathan Changus from the Northern California
24 Power Agency, admittedly the liberal arts major
25 in the room. Do the arguments or the suggestions

1 you have for decentralization and focusing kind
2 of on the distribution systems also apply to
3 electric water heater systems as well, to do?

4 MR. DELAGAH: Absolutely, yeah.
5 Obviously if you have a centralized electric
6 water heater, there are only savings
7 opportunities when you go to point of use, you
8 know? And it also is with any of these things
9 you always add redundancy when you have multiple
10 water heaters. If the main water heater in your
11 kitchen goes down you might still be able to
12 operate your facility, you know, if your
13 dishwasher is on a separate line or if your hand
14 sink's on a separate line. There's a lot of
15 added value, but definitely any time you remove
16 recirculation or distribution line losses it's a
17 bump in efficiency.

18 MR. HOWLETT: Owen Howlett from the
19 Energy Commission, just a question about the
20 dishwashers you mentioned. There are more
21 efficient dishwashers, I'm not up to speed on
22 this but do the more efficient dishwashers have
23 any consequences? Like are their run times much
24 longer than the previous generation or are there
25 any consequences for the design and operation of

1 the restaurant?

2 MR. DELAGAH: For example, the door type
3 dishwasher is the most commonly installed in
4 restaurants: small to medium size, full service
5 and some quick-service facilities. For that
6 after you do a wash and rinse, which is typically
7 a minute to extract all the energy from the water
8 vapor that takes about 30 seconds. So instead of
9 a one-minute cycle you might have a one and a
10 half minute cycle.

11 Typically it's not a huge issue, because
12 they're usually loading the next rack to be put
13 in there. In your high through quick facilities
14 they usually opt for a conveyor type dishwasher
15 and not a door type dishwasher. So even at one
16 and a half minutes it's just fine. Under the
17 counter in the bar, it's about two minutes versus
18 two and a half minutes; it's not really that much
19 of an issue.

20 Outside of that there's really no other
21 issues. You are trading a little bit sometimes
22 going from a gas centralized water heater to
23 typically a electric booster, so although you are
24 saving a lot in terms of there's some offsets
25 that are between gas and electric that you've got

1 to look at as well.

2 Yes?

3 MR. OSANN: Has it been your experience
4 at the Food Service Technology Center that the
5 franchised restaurants that have a template for
6 the building and the layout and the arrangement
7 and everything, are open to and interested in
8 efficiency improvements of the type that we're
9 talking about here today?

10 MR. DELAGAH: Several have been. We
11 worked for example, with some quick-service
12 facilities like Subway already is doing it on
13 their own wherever they can go to decentralized
14 heating if the codes allow it or if the Health
15 Department allows it, they do. So they realize
16 they don't use a lot of hot water, they're not
17 very intensive and they'd rather do point of use
18 especially at their far off hand sinks. And they
19 might go to tankless just for the three-
20 compartment sink, so it's better than just having
21 a storage water heater sitting there losing heat
22 all day.

23 And also you have really poor hot water
24 delivery performance at all these far-off hand
25 sinks. So for them it is an energy savings as

1 well just a improvement of hot water delivery
2 performance. You have other facilities that have
3 taken up -- if you go to a continuous
4 recirculation line you want to make sure you
5 still have hot water at your hand sink. You have
6 hot water in the ceiling, but you still have to
7 get it down to that low water using 0.5 GPM
8 fixture. And so we have seen adaptations of just
9 bringing their recirculation system down a little
10 bit and back up to at least make sure you have
11 hot water.

12 So there are some strategies that have
13 been taken up. They can be doing more and we
14 have been -- one of the PIER projects that we're
15 proposing, I don't think we're going to get it in
16 this time, was to actually do or work with a
17 California chain and to actually look at their
18 existing system and really do a thorough research
19 project on seeing the end use, energy use kind of
20 like what we're doing in the lab. And also
21 optimize that system using some of these
22 strategies and look at the energy savings of
23 that.

24 So that's research that we need to do
25 that's going to require a lot more, especially

1 field research. We should kind of do a key study
2 to really demonstrate it for these facilities, I
3 think that's the best strategy.

4 MS. BROOK: Okay, thank you very much.

5 MR. DELAGAH: Thank you, Martha.

6 MR. ABDULLAH: I just want to mention
7 that some of these technologies we are looking
8 at: waste heat recovery from the air-conditioner
9 that's over the kitchen. We are field testing in
10 four different sites using a system developed by
11 RHEEM and RINNAI with the heat recovery from the
12 condenser or the air-conditioner, which is
13 usually on in the kitchen area throughout the
14 year even in the winter months. So the
15 significant heat recovery from the condenser to
16 aid the water heating systems, and the payback,
17 could be anywhere from three to five years. So
18 we're testing it in four different locations.

19 And the other experience that we have
20 had is that a lot of the restaurants that are not
21 corporate-owned or chain restaurants, they are
22 very difficult to convince them to adopt new
23 technologies because they operate on thin margins
24 of profitability. So they don't have the means
25 nor the resources to adopt new technologies, so

1 that's going to be a big challenge. And I
2 would hope that in this exercise we will
3 prioritize the market segments that we should
4 target, because we can't possibly address all
5 markets. And I would also hope that these
6 strategies would be different for new
7 construction versus existing.

8 MR. TAM: Okay, next we have Yanda Zhang
9 from TRC.

10 MR. ZHANG: My name's Yanda Zhang with
11 TRC. Today I'm going to talk about DHW
12 applications in multi-family buildings. Mostly
13 it's a summary of what we did for PIER research
14 in the last couple of years and how we took it
15 to, for example, the 2013-2008 Title 24
16 development.

17 So is this automatic or I didn't do
18 anything, just, so let me just go back, okay?

19 MS. BROOK: (Inaudible)

20 MR. ZHANG: I see, okay. I get it, so
21 maybe I made some mistake here.

22 So just a brief history of what we have
23 done in multi-family more or less. I would say
24 it started, was a couple of years. Nehemiah
25 Stone here in the room initiated the research

1 emphasizing the importance of the DHW energy
2 using multi-family residence in special
3 centralized systems. We're also saying we did
4 around PIER research of the area and later on it
5 was also funded IOU's Codes and Standards
6 programs to help us to improve the understandings
7 of the system to have the model of the central
8 DHW systems. And it helped us to, for example,
9 to implement some of the important code in the
10 last run of Title 24 development.

11 So first of all, in turn with the
12 building type even we say multi-family buildings
13 what we also mean is for example in coding, hotel
14 and motel buildings where you have multiple
15 dwelling units and each one has their kind of
16 independent usage patterns. And a water system
17 is not supplied by, for example, individual water
18 heaters or boilers. It's more being supplied by
19 a central boiler with a complicated distribution
20 system mostly using recirculation loops.

21 And here also showing on the first graph
22 here, showing the importance of multi-family. As
23 we've seen, you know, the last couple of years
24 the market recession has been really hit hard to
25 the single-family sectors. And then we're seeing

1 actual multi-family construction has remained
2 relatively strong or even picking up more faster
3 than single-family's. So that's something we
4 like to people to pay attention. You know, in a
5 sense when we talk about residential hot water
6 usages, multi-family is a important sector.

7 So this is a kind of generic overview of
8 the system where we're discussing. And on the
9 top is a schematic of the multi-family building
10 or a hotel building in essence. And usually you
11 have a central boiler room located, could be in a
12 couple different positions in the building. It
13 could be in the top floor or could be on the
14 first floor or basement. And what they usually
15 have are multiple recirculation loops going from
16 the central boiler or storage tank through the
17 building, and then you have branches or risers
18 they often call it, going to different dwelling
19 units.

20 This is really a very simplified
21 illustration of a recirculation system. What you
22 can find in the field is usually much more
23 complicated, but there's something in common.
24 There's something in common is usually they do
25 not tend and do not try to run the recirculation

1 loop to every floor. In that case some people
2 might think it's a good idea, so that you can
3 have hot water close to each individual unit.
4 But from the energy use point of view having a
5 very complicated, long recirculation loop is
6 really going to lead a loss of energy, a loss.

7 This kind of energy use breaking down,
8 kind of illustrates the point. And if we start
9 in from the left side showing this is what the
10 total gas supply is to the system you can see
11 roughly, you know, one-third of the energy
12 actually used is lost by the water heater due to
13 inefficiency there.

14 And another one-third roughly as, you
15 know, we conclude from the field study is losses
16 through recirculation distribution systems. So
17 what's really reached to the end users basically
18 is the other one-third. So the overall wall
19 system efficiencies on average, it's about 30
20 percent-ish. It really again depends on your
21 usage pattern, for example if you go to a college
22 dormitory building. Especially in summertime or
23 during weekends there's not many people and we
24 see most of the energy is used for or by the heat
25 loss through the distribution system. In that

1 case the old wall system efficiency would be low
2 single digits.

3 So there's also for example, design
4 impact. If you do design a system with a short
5 recirculation per se and you're going to have,
6 for example, longer rises to individual dwelling
7 units. Now if you study the system you find it
8 out, the heat loss through the distribution is
9 less. But yet it does not mean the system is
10 more efficient, because what's not potentially
11 visible is if you have a long rise or long pipes
12 people will have more, you know, kind of like a
13 dump of the hot water for waiting hot water to
14 reach through the faucet. So just you have
15 different kind of ways to patterning in a sense,
16 something to pay attention.

17 And what we, the last couple of studies
18 we also focused on new construction buildings
19 that try to understand what is the latest
20 practice. And what we found out for example, at
21 least for new buildings the insulation is
22 relatively good and existing buildings are a
23 different story. So, you know, at least for
24 multi-family hotel or motel buildings I would say
25 from a new construction point of view emphasizing

1 pipes insulation is important, but the savings
2 might be marginal. It's just because they seem
3 to have done quite a lot.

4 Some of the things I'd like to discuss
5 here were already kind of covered by Amin in his
6 presentation. What I would like to discuss is
7 given the system design we have in multi-family
8 buildings what we can do, what we can do as the
9 next step? And a couple of things we can
10 consider: one, traditionally we can consider
11 using for example high-efficiency boilers and
12 water heaters; that usually means condensing
13 water heaters. That's definitely an area that
14 Amin showed. In many cases especially you would
15 have a large amount of any use, the payback is
16 relatively short.

17 Another one to consider is, you know,
18 the recirculation system optimizations. For the
19 last Title 24 we did some, in a sense the first
20 step to work. For example, trying to at least
21 ask people to pay attention to the plumbing
22 designs saying this is something not done usually
23 in the field. I mean, the last Title 24 we began
24 to set the baseline such that you can have two
25 circulation loops instead of one. The rationale

1 behind that is that using two allows you to use a
2 smaller size pipes than using one big fat pipe to
3 supply the whole building.

4 And, you know, this slide I like to
5 discuss is what else we can consider. And in
6 multi-family buildings and we also have space
7 heating systems, so for hotels-motels you also
8 have pool heating. You know, the question for
9 example is how we can possibly in a sense have a
10 integrated design to have your heating system
11 addressing both hot water as well as space
12 heating and pool heating needs.

13 Something for example, if you're going
14 to use a condensing water heater adding more load
15 as was discussed before can potentially give you
16 shorter payback. And if you're going to use also
17 for example solar water heating system, you know,
18 adding that additional load also -- even your
19 load profile also improve your solar system
20 efficiency. So integrated design is something we
21 need to consider.

22 Another possible consideration is
23 integration with heat recovery from a HVAC
24 system. You know, we haven't done anything, we
25 haven't noticed anyone doing something in this

1 particular area. And not like, for example, I
2 mean probably taking more steps in that area to
3 consider in commercial kitchens. Or we haven't
4 seen a lot of doing in multi-family buildings.

5 And part of the challenge I guess is
6 multi-family buildings you could, you don't
7 always have centralized HVAC systems: in hotels,
8 motels maybe and not always, but less common in
9 multi-family buildings. So we probably should
10 conduct more market studies to see where it's
11 applicable. And a hot water drain recovery
12 system is actually constantly discussed. And we
13 also have actually, I forgot the name now, in the
14 proposed possible solutions discussion about
15 especially this might be useful potentially and
16 more potentials in multi-family, because people
17 more tend to think multi-families.

18 You know, you can have simultaneous hot
19 water usages and the potential is higher, but
20 then again we performed a preliminary analysis to
21 find out there are also challenges we need to
22 consider for example. And in multi-family use
23 you have kind of a -- you basically have kind of,
24 what should I say, a kind of large distance
25 between for example boiler rooms between the

1 actual hot water fixtures. So to bring your
2 recovered heat into the boiler room is a
3 challenge.

4 And now if you look at the individual
5 dwelling units heat recovery and that more or
6 less might lead to each individual unit's going
7 to have a recovery system, heater recovery
8 system. In that case you're going to have
9 potentially a higher cost, kind of lose some of
10 the advantage of the hot water use of the whole
11 building. So those are the things we don't have
12 an absolute answer, but it's something we should
13 consider.

14 Just also for reference this diagram we
15 tried to -- again going back to the slides.
16 We're trying to give people a kind of a better
17 sense of what's being implemented in Title 24.
18 So we've talked about in practice you have
19 different -- you know, building types could have
20 different hot water usage. And they're often
21 very scattered, have large variations, but we
22 need to do up in Title 24 something to consider
23 is that we do have assumed or default hot water
24 usage patterns for analyzing hot water savings
25 and also to create potential energy budget for

1 compliance purpose this diagram kind of shows how
2 hot water plays in the overall multi-family
3 energy budget for Title 24 compliance.

4 The kind of reddish bar here shows from
5 a TDV point of view the percentage of energy used
6 by a DHW system as compared to the whole building
7 energy use. We're talking about DHW regulated
8 energy. And the green bar shows some natural gas
9 in term of therms, the percentage of total energy
10 use represented by DHW system. In both ways you
11 can see the DHW representing a really large chunk
12 of the total energy use, so that gives you a kind
13 of an overview how important DHW is as we compare
14 to other end users such as HVAC and lighting.

15 And this one we like to summarize what's
16 commonly required for centralized DHW systems for
17 multi-family. So we know in a sense from the
18 Title 24 design point of what is the starting
19 point from now and what we need to achieve
20 further. So from hot water heating equipment
21 point of view the standard is aligned with the
22 DOE user requirement, DOE hot water heater and
23 boiler efficiency requirement.

24 What we added in the last run is that
25 for centralized system, and we in California

1 began to require solar water heaters to be
2 installed. It's required in a sense, it's not
3 mandatory requirement meaning that it's not --
4 what we require is you need to achieve the amount
5 of -- at least achieve it on energy savings, that
6 equivalent to install a certain size of solar
7 water heater. And what we call prescheduled
8 requirements for those familiar with the code
9 structure. And you don't have to install solar
10 water, but you have to come up with energy
11 efficiency measures to achieve this equivalent
12 amount of energy savings.

13 And for distribution systems we began to
14 require the dual loop design as the baseline
15 systems and having demand control recirculation
16 system and as a default a control strategy.
17 Again, those are what we call prescriptive
18 requirements meaning that it's something you
19 don't have to do exactly, but you have to design
20 a system achieve the equivalent performance as
21 defined by those two specifications, those two
22 meaning the dual loop design and demand
23 recirculation.

24 So the last bullet point we also began
25 to ask builders to pay attention and building

1 officers to check the plumbing designs. It's
2 really a baby step last time, because it's not
3 been a common practice for building officers to
4 check each of those system plumbing designs. So
5 what we began to require is really minimal. And
6 in fact, it's actually a HERS rater measure.
7 Something it's not, again mandatory required.
8 You will get a credit for doing so as a way to
9 encourage people to begin to pay attention to
10 plumbing design.

11 So going forward what are we saying we
12 can potentially do? And again to help achieve
13 the goals what were set by the State to achieve
14 zero net energy buildings. Similar to what was
15 discussed we can talk about -- separate the
16 discussion for heating equipment, which we would
17 say consider high-efficiency water heaters and
18 boilers usually meaning condensing water heaters.

19 And then recently we also discussed with
20 different stakeholders and parties who were
21 thinking how we, for example, should consider
22 using distributor designs to take advantage of
23 some of the high efficiency equipment, especially
24 tankless water heaters in multi-family buildings.
25 That's something we should have considered,

1 something already will begin to do some
2 preliminary work hopefully or at least is going
3 to lead to some field demonstrations.

4 Another one is solar water heater
5 performance. Since we begin to require a solar
6 water heating system in the buildings I think
7 something we need to pay attention to is
8 especially large, centralized solar system. How
9 do we regulate and the efficiency of those
10 systems, how do we better integrate solar systems
11 for the boiler and the water heater systems. Or
12 even going further, there might be applications
13 in terms of how do we integrate solar systems
14 with space heating systems.

15 These things I think used to be maybe
16 more considered as emerging technologies, but
17 since now we have those into the code we should
18 begin to consider, you know, kind of mandatory
19 requirements in sense of how we can improve the
20 system efficiencies.

21 Distribution systems, well we did some
22 work in the last run, which is in terms of
23 optimizing distribution recirculation designs,
24 which is dual loop design was mentioned. I think
25 more what can be done is to consider, as we

1 already talked about this, when the recirculation
2 system is applicable. When we should consider
3 more a distributed system meaning, you know, not
4 a centralized system.

5 And also recirculation control
6 improvement and the demand systems is more or
7 less, I would say it's probably kind of the best
8 system we found from our studies so far. But
9 still from the field research we realize there
10 are certain areas that can be improved. For
11 example, you know, the system particularly for
12 some of the large systems kind of the reliability
13 of the controls, how it can respond to small
14 flows in large systems, can be challenges for
15 those controls. Something, you know, we should
16 consider.

17 The various designs, this is why I think
18 I touched upon in past discussions, is one is a
19 central recirculation system versus distributor
20 system. Something to consider how do we
21 integrate with other systems space heating, HVAC
22 and solar systems or even solar PV systems.
23 Maybe that's, you know, a little bit of a reach
24 and what I mean is that we begin to see what they
25 call what's the term, a solar PV system, what's

1 the term where they could have it PVT? PV
2 Thermal systems, that's what I mean.

3 So by for example cooling your thermal
4 PVs actually improve your PV efficiency as well
5 as you can collect hotter waters. Because
6 something at this stage may be small and it's
7 kind of a ET type of technology, emerging
8 technology consideration. But whether it's from
9 PIER research or from PG codes and standards
10 point of view I think this is something we should
11 consider.

12 I think this slide somewhat summarized
13 what I like to kind of recommend and for both
14 PIER research and I guess also for standard water
15 -- yes, how do we demonstrate new system designs
16 that improve, that has large savings potentials.
17 Meeting new designs again means how do we have
18 integrated designs, how do we have a distributed
19 systems versus centralized systems.

20 And we also need to collect performance
21 data from those systems and accept some
22 performance rating method especially for new
23 solar applications and do Title 24 performance
24 modeling. As we know one thing is most of the
25 buildings there, at least for multi-family

1 buildings, they are following what they call a
2 performance compliance approach meaning that they
3 try to reach the code requirement by building
4 simulations to demonstrate that building energy
5 use is below the required budget. That implies
6 that we need to have good simulation tools to
7 support new system designs, support new
8 technologies. So that it can be used for code
9 compliance.

10 One of the examples is for example, the
11 control, the simulation capability of controls.
12 In the past we all recognized the savings from
13 controls, but we kind of lack sophisticated ways
14 to quantify energy savings in different
15 buildings. And one of the key, I will say key
16 elements that help us to achieve the last cost
17 improvement is that it was a model that would be
18 able to calculate, estimate any savings from
19 controls. So going on forward we need similar
20 tools to just new technology and new system
21 performance.

22 I think that summarizes my presentation,
23 thank you. Nehemiah, please?

24 MR. STONE: I'm going to monopolize here
25 for a moment, because I've got a bunch of

1 questions Yanda. On I think it was right around
2 slide 4, for central heating systems you were
3 saying that some multi-family buildings have the
4 central heating systems that you could integrate
5 with. And I'm wondering if you're talking about,
6 you know, fan coil systems or you're talking
7 about distributed water source heat pumps.
8 Because the integration would be different
9 depending upon how those things are going to be
10 handled.

11 MR. ZHANG: Right.

12 MR. STONE: What have you seen?

13 MR. ZHANG: I think what was in my mind
14 was more hydraulic heating systems. And
15 especially along the coast and Bay area we see
16 many buildings have those systems. And to a
17 degree they're similar, the hydraulic system and
18 the DHW system both have central boilers and they
19 have hot water pipes to bring hot water
20 throughout the building, to basically distribute
21 the heat throughout the buildings.

22 MR. STONE: The concern about how they
23 would be handled differently though is more about
24 prioritizing. You know, in other words if
25 there's a demand for hot water versus a demand

1 for heat. I'm sorry, whether there's a demand
2 for hot water or for heat the controls to
3 prioritize in all the different units that's --
4 but I haven't seen a whole lot of the four-pipe
5 systems that are supporting or two-pipe systems
6 supporting heat pumps. But I did see some in the
7 past, I'm not sure that people are actually going
8 that way today.

9 MR. ZHANG: Yeah, I would say that I
10 might, what was in my mind is hydraulic systems
11 and not necessarily heat pump systems. And also
12 we don't see many applications that have
13 integrated or what they call combined space and
14 water heater applications. What's in the code,
15 Title 24 recognized is you use the same boiler
16 for both DHW and for space heating or hydronic
17 heating systems.

18 And what we did see is at one of two
19 sites in Berkeley, and they actually shared at
20 least part of the distribution systems. And it
21 was quite interesting, but actually we didn't
22 study that particular history in our last PIER
23 research, because our scope was related more to
24 the DHW systems. And we didn't have any plan of
25 being able to allow us to understand those

1 systems. So but as I talked to the facility
2 manager he said, "It works fine," and obviously
3 it works and there was no complaints so I -- and
4 he also said he came from the East Coast side and
5 he saw those systems more often.

6 So that leads me to consider, you know,
7 we should look at it. And what, if any benefit
8 we can have from those systems. Yeah, that's at
9 one of the sites we have.

10 MR. STONE: Right, the chart on page 5,
11 was that based on nominally typical buildings or
12 was that based on real-world buildings? I know
13 it was all Title 24 runs, but --

14 MR. ZHANG: Right, this was the eight-
15 unit multi-family prototype, for example,
16 compliance software validation used by Title 24
17 and so I --

18 MR. STONE: And have you considered
19 doing the same kind of -- I mean you guys have a
20 larger set of multi-family new construction plan
21 sets or models than anybody else, because of the
22 programs you run. Have you considered doing the
23 same kind of comparison looking at what's
24 happening in the real world?

25 MR. ZHANG: Well, I use this again as a

1 summary, so I do recognize and we all understand
2 each building, they all have large variations.
3 And to a degree it's what is the average, you
4 know? It kind of requires large amount of data
5 sets to come up with the average, which we don't
6 have. This one I was just trying to show you for
7 code reference since this workshop is trying to
8 support Title 24. This is what's being currently
9 specified in the code and something to consider.

10 MR. STONE: But the message here is, I
11 think a lot more important than --

12 MR. ZHANG: Yes.

13 MR. STONE: We're trying to get to zero
14 net energy and I'm concerned, I hate to say this
15 in front of you, but I'm concerned about
16 installing all of this gas equipment, because TDV
17 pushes us towards gas when we have this 2050 goal
18 of getting to 80 percent below the 1990 emissions
19 level. And there's no way in blank that we can
20 get there if we now are pushing people and will
21 continue to push people towards installing a
22 bunch of gas infrastructure. And I think if you
23 took a look at real buildings and looked at
24 what's happening rather than the prototype the
25 differences there might be more astonishing and

1 might be even bigger than what you're looking at
2 or what you see from the model.

3 MR. ZHANG: I say one thing I will just
4 say probably I -- this slide was discussed, they
5 were a couple months of ago when we first planned
6 this meeting. Now you talk about, I think, a
7 small gathering to add other unregulated load
8 heater to compare, for example, the plug load
9 especially. And so what I said here, this is
10 only a comparison of a regulated load and how
11 does DHW compare to the rest end use assumed in
12 Title 24.

13 And for example, we know we have the
14 HERS tool rating system. There are rating
15 systems that including other end uses, I think
16 including those will be probably more useful and
17 helpful to give people a better picture. And
18 this is just regulated load.

19 MR. STONE: Last question, in the list
20 of things you thought we should consider I was
21 surprised by a couple of things that weren't on
22 the list. So I want to find out if maybe I
23 missed it and they got included in 2013 or maybe
24 you just didn't see any reason that they might
25 end up in savings.

1 One is continuous monitoring, being able
2 to see how the system's performing all the time.
3 And EDC stuff showed how much continuous
4 monitoring action makes a difference. Acceptance
5 testing, so that you know that it's actually
6 working the way it's supposed to be working when
7 it's first installed. And a larger tank volume
8 per unit load at least as a credit, you know, if
9 you design so that instead of 150-gallon tank
10 you've got a 600-gallon tank that you get with a
11 very small pump, if you get credit in the
12 standards from savings from that. So I'm
13 wondering are those things not things that you
14 saw in any of your research that might make a
15 difference or did I miss something in 2013 and
16 they're already included?

17 MR. ZHANG: Some we considered, some say
18 it's still an open question. I agree, because
19 for example the last one, maybe it's just the
20 last one is the large tank size. And what I
21 really would like to add a credit is along that
22 line, is to consider really the system designs.
23 And right now you go to any building or talk to
24 mechanical designers, the default is just that's
25 the way it is. It's that you have one or two

1 boilers to support a storage tank and then run a
2 recirculation loop and how is it run, and as long
3 as somehow it reaches to every different part it
4 will be fine, there was no design. So along that
5 line the first think I like to emphasize yes, is
6 to let's consider how we can design systems
7 differently. And that, we definitely should
8 include how big for example is tank size. How do
9 we size the boilers and especially you're going
10 to integrate it with solar systems and the large
11 tank is more important. I agree with that, but I
12 didn't go into those level of details.

13 MR. STONE: What about the continuous
14 monitoring?

15 MR. ZHANG: Continuous monitoring is the
16 first question you had. We are already giving
17 credit to continuous monitoring in the code,
18 yeah.

19 MR. STONE: Probably discussed like a
20 year and a half ago?

21 MR. ZHANG: Right, so whether we more or
22 less is the assumption. You know, that's what
23 the EDC's doing is the long-term effect is being
24 able to bring down your hot-water supply
25 temperature. So that's included in the code, so

1 that's recognized. As again what do we talk
2 about, for example the demand control is a
3 prescriptive requirement. It means that that's
4 just used to set the energy budget for compliance
5 purpose. And if you choose to use for example,
6 EDC systems the model is going to come in energy
7 savings and to see maybe what can be compensated,
8 what you lost from --

9 MR. STONE: Well, so I remember
10 correctly and I may not, but if I remember
11 correctly the only credit given for the
12 continuous monitoring is in conjunction with a
13 temperature modulation system like EDC's. not
14 with a demand control system or is it a -- I
15 mean, can you get that on top of the base case
16 demand control?

17 MR. ZHANG: I think something -- folks,
18 I've not so sure, talk to Larry and one time EDC
19 discussed with me I certainly talked to them and
20 said, "As we design or as we are starting here
21 what's included in the code is what we see
22 available in the market." And in fact I actually
23 said, "You guys should consider, have different
24 control strategies working together to see what's
25 the best." But what the codes cannot do is to

1 begin to create something that does not exist in
2 the market. That's what we didn't do, so...

3 MR. STONE: But it doesn't exist, Larry?

4 MR. ACKER: It does exist.

5 MR. STONE: There you go.

6 MR. ZHANG: Okay.

7 MR. STONE: (Inaudible)

8 MR. ACKER: The technology is changing
9 all the time. We work constantly to upgrade
10 electronics in all kinds of systems. So the
11 technology is there, it's just a matter of
12 electronics totally being able to control a
13 pumping system.

14 MR. STONE: That's what it amounts to?

15 MR. ACKER: Yes, it is and we're about
16 ready to come up with some new things in the next
17 few months.

18 MR. ABDULLAH: I have comments. Can you
19 go back to your chart where you show the water
20 heating consumption per the percentage of Title
21 24?

22 MR. ZHANG: Yes, can just take -- not
23 this?

24 MR. ABDULLAH: Yeah, that's the one.
25 Yeah, I'm kind of confused about this chart,

1 because if you were to say in some of the bars
2 almost 80 percent of the natural gas use whether
3 it is by therms or TDV is off the -- you know, 80
4 percent of it is used for total domestic water
5 heating. So are you assuming these are all the
6 space heating is by electric heat pump and that
7 the cooking and the drying is nonexistent?

8 MR. ZHANG: Yeah.

9 MS. BROOK: (Inaudible)

10 MR. KLEIN: Microphone, Ms. Brook?

11 MS. BROOK: Yes, counting heating,
12 cooling, ventilation.

13 MR. ABDULLAH: So it has space heating
14 in there?

15 MR. ZHANG: Yeah.

16 MR. ABDULLAH: So I don't understand how
17 water heating consumption could be 80 percent or
18 90 percent of the --

19 MS. BROOK: Because there's no --
20 there's very little heating requirements in those
21 model climates and space heating requirements in
22 the model climates. And so that's why it ranges,
23 so that when you look at the most severe climate
24 where there is in the 15, 16 that's where it's
25 down 20 to 30 percent and the most severe

1 climates there is space heating and space
2 cooling. But where there is very little space
3 heating and cooling then water heating bumps up
4 to 80 percent.

5 MR. ZHANG: Yeah.

6 MR. ABDULLAH: Well, I'm looking at say
7 climates on 10, which has there a significant
8 amount of space heating requirements. And I
9 don't see that water heating should take 80
10 percent unless you're assuming, hang on just let
11 me finish, unless you're assuming that it's a
12 central water heater and has a lot of losses and
13 then you're attributing the total water heating
14 consumption on a per unit basis. Then maybe yes,
15 because we know that when you have tank type
16 water heaters and individual units it's about 180
17 therms for water heating and it's about 200
18 therms for space heating. And then if you do a
19 central water heating system then the point of
20 consumption goes up to 270 therms for water
21 heating and the space heating still stays at
22 about 200. So that's why I'm looking at those
23 numbers, so I was just curious.

24 MS. BROOK: Yeah, so it could be that
25 you're thinking about existing buildings and this

1 is a new buildings slide. So that's one thing I
2 would just mention is that the other thing this
3 was sort of pointing to is that we've continued
4 to make significant improvements since space
5 heating and cooling in new construction and we
6 haven't made those same improvements to water
7 heating. So the residual is that water heating
8 is hanging out there, especially in the mild
9 climate zones as the remaining big thing to go
10 after, because we've already done a lot in space
11 heating and cooling in the standards, so for new
12 construction.

13 MR. ABDULLAH: Okay, I just want to add
14 that from emerging technologies we're looking at
15 solar water as well as combined hydraulic space
16 and water heating for multi-family as well as
17 single-family homes. And in response to
18 Nehemiah's concern about greenhouse gas
19 reductions and etcetera I don't think you can
20 basically achieve it through cost incentives, but
21 we're looking at a number of new technologies
22 that are addressing energy efficiency, after
23 treatment and then advanced combustion
24 technologies. So I think that we should give
25 technology a chance before we legislate any

1 natural gas alternative.

2 MS. BROOK: Well, I don't think -- this
3 is Martha Brook -- I don't think this is the
4 right place to bring up the rather large and
5 unwieldy discussion about energy versus
6 greenhouse gas. But when we get into Danny's
7 discussion where he talks about and explains how
8 we do the energy budget calculations and what we
9 value in terms of energy costs in the standards.
10 It'll come up again, because we are trying to
11 capture carbon costs in that evaluation of
12 energy.

13 And, you know, all we can do from the
14 standards perspective is we have a mandate to
15 look at it from the consumer's perspective of
16 energy costs. And so all we can do is make that
17 as comprehensive as possible a evaluation
18 approach. And because we update it every time we
19 update the standards we have the ability to
20 consider everything that stakeholders bring to
21 the table as important in that evaluation and we
22 can discuss it then.

23 MR. OSANN: I have a few questions. I
24 didn't quite understand the point you made
25 earlier in your presentation about trends in new

1 buildings. You mentioned the insulation is
2 pretty good in new buildings, but there was a
3 "but" of some kind and I didn't quite get that.
4 Were you qualifying your view of --

5 MR. ZHANG: I'm trying to think what did
6 I say, did I say I was talking about --

7 MS. BROOK: You were talking about pipe
8 insulation.

9 MR. OSANN: Yes, pipe insulation.

10 MS. BROOK: Our new building is already
11 doing that and therefore there's not a lot of
12 benefit in requiring everybody to do it if
13 everybody's already doing it.

14 MR. OSANN: Yeah, I --

15 MR. ZHANG: What do I remember I said is
16 that there obviously you can achieve more savings
17 by adding more insulation, no doubt about it.
18 But I guess maybe I said this, that don't think
19 that that will give you a large amount of
20 savings, because at least in new building they
21 already pay attention to that since in the field.
22 So we should consider other things.

23 MR. OSANN: And is that in response to
24 Title 24 or is that for other reasons?

25 MR. ZHANG: Multi-family heating has

1 probably a unique market position in a sense,
2 because of the utility in multi-family programs
3 that there has been such a outreach to view this
4 design and come up with what you can do to
5 improve your systems. And I think that's the
6 effect there, is the because the building
7 industry community have probably better educated
8 in terms of how to do things right along with
9 other things. I think that that, at least
10 compared to any other building sectors, I think
11 the multi-family building program from the
12 utilities has a very large percentage coverage
13 for the total multi-family units to build in the
14 states.

15 I don't know, Nehemiah probably can give
16 you a better number. I would say at least 50
17 percent of the units, new construction units, has
18 their participant of utility programs. So I
19 think that's there one of the effect.

20 MR. OSANN: So those are supporting
21 specific measures. I mean, the relative value of
22 pipe insulation is not incorporated in the
23 modeling as --

24 MR. ZHANG: It is, for example Title 24
25 model is a specific -- for DHW system you can

1 specify is it additional insulation added like
2 one-inch insulation added. You do get credit for
3 that.

4 MR. OSANN: You get a credit?

5 MR. ZHANG: So I think that maybe that's
6 kind of visibility and had an effect to the
7 market.

8 MR. OSANN: Yeah, go ahead.

9 MR. STONE: Yeah, sure. So Yanda, if
10 I'm not mistaken, I mean the biggest issue with
11 the insulation is what you're saying is it's a
12 compliance issue more than anything else?

13 MR. ZHANG: Right, right.

14 MR. STONE: So the model may count for
15 the effect of the insulation, but building
16 departments are not very widely enforcing it I
17 guess is the way I would put it. So for those
18 buildings that Yanda is talking about that are
19 going through an IOU program you have a pretty
20 high certainty that the insulation is there. For
21 those that are not, you don't.

22 MR. KLEIN: A follow-up on the
23 insulation question, it's my understanding that
24 we don't and the standards actually require
25 insulating all of the hot water piping. The

1 only, for research systems we require the loop,
2 what about the branches?

3 MR. STONE: So for the kitchen, okay so
4 we get some of it. I guess there is an
5 opportunity to pick up things that are not on the
6 loop. And depending on the way that the loop is
7 structured if it's a central corridor loop with
8 long branches then the odds are you'll get a
9 portion of the branch, because it goes to the
10 kitchen. If it's vertical risers they'll tend to
11 be closer and they'll be on the loop, so they're
12 supposed to be insulated anyway. But it seems to
13 me that we ought to be paying attention to the
14 branches that touch the loops. They act like
15 wicks to heat, so we ought to be thinking about
16 it, yeah.

17 MR. ZHANG: I'm not saying there's
18 nothing to be done, but again my point is that
19 the incremental savings will be small. You know,
20 one of the for example applications you can
21 consider in a branch, branches are not
22 necessarily required to be insulated. However,
23 if you look at the heat loss mechanisms and the
24 big challenge of heat loss is because someone
25 used the hot water and then the hot water is

1 sitting in the pipe for a long time and will
2 slowly dissipated, wasted.

3 In that case it does not matter how
4 thick your insulation is, it's just going to make
5 it slower. Sure, there are better chance for the
6 person to pick up, but again the point is that
7 the incremental savings you can expect will be
8 smaller than other measures. That's what I mean.

9 MR. SPLITT: This is Pat Splitt from
10 App-Tech. I just want to make two observations.
11 One, I'm from Santa Cruz where we don't have
12 high-rise buildings, but we do build a lot even
13 through the recession, of multi-family but
14 they're all three-story buildings max and either
15 all three stories are residential or the first
16 floor is a combination of commercial and parking
17 and the upper floors are residential. But in
18 almost all instances these buildings are
19 designed, so that for the first ten years those
20 spaces will be rented out as apartments, but
21 they're all designed with separate equipment.

22 So that after ten years if the owner
23 wants to convert them to condominiums in that
24 case they all have to have their own water heater
25 and, you know, space heater and air conditioner

1 as far as they're concerned, because they don't
2 want to have to worry about putting in monitoring
3 systems and hiring somebody to do that. And
4 worrying about how to pass that on to a
5 condominium association they don't want to have
6 anything to do with it. So that's just a type of
7 building that you can't just always say well it's
8 always better to have a central system. And, you
9 know, there are other reasons economic other than
10 just energy that drive people to do something
11 else.

12 And the other point I want to make is
13 your asking for ways of incentivizing this new
14 equipment or new designs. Well one thing that's
15 been a problem currently is that I work a lot on
16 combined hydronic systems. A lot of the new
17 equipment now is actually being installed the
18 covers, because people don't want to have to go
19 through all the rigmarole of getting equipment
20 listed in an appliance directly and tested and
21 everything until they're even sure it's going to
22 work in California.

23 So I think what would be a great help to
24 a lot of these people who are developing new
25 equipment is if we came up with some sort of

1 program where a certain number of systems, say a
2 company could install 20 experimental systems in
3 California without having it listed, without all
4 this official testing just so they could gather
5 the data. And the tradeoff would be since the
6 Commission allows them to do this that they have
7 to monitor the equipment and give the Commission
8 back the data, so we'll build up a database on
9 this new equipment and get some useful
10 information. And it sounds like that would be a
11 win-win.

12 MR. ZHANG: I will leave the second, the
13 response to your second question to Martha
14 because that's --

15 MS. BROOK: Yeah, I'm just going to take
16 it and note it. I think there are kind of
17 probably a lot of issues with that that the
18 Energy Commission isn't responsible for
19 implementing the standards, so it could be up to
20 the local building departments to decide whether
21 or not they want to experiment with, you know,
22 buildings in their jurisdiction. I think that
23 could be problematic, but I think that Pat's on
24 the right track. I think that we do have to
25 establish mechanisms to get manufacturers to

1 provide us with performance data.

2 And we have been talking about options
3 where we, instead of what Pat suggested what we
4 would do is we would assume a default
5 conservative performance curve or efficiency for
6 this experimental equipment. And then require a
7 performance curve that's justified and kind of
8 self-certified by the product manufacturer if
9 they want us to use that specific efficiency
10 information in the performance calculations. So
11 that's another approach.

12 MR. ZHANG: Yeah, regarding your first
13 comments individual systems versus centralized
14 systems, the code does not require you have
15 centralized systems. But it basically set the
16 performance level for centralized system if you
17 do have a centralized system. If you decide in a
18 multi-family building use the individual systems
19 in fact you, in the simulation you're going to
20 check something called, you know, the system one
21 or something like that. They will be compared
22 and followed requirements specified for
23 individual systems. So the code allows you to
24 select either system, but then apply different
25 sets of rules for them.

1 MR. SPLITT: Just an example, the
2 systems I typically do in these buildings are
3 combined hydronics. They'll just have one little
4 boiler and one small storage tank and one fan
5 coil for the space heating. But and that's gas
6 and I might -- and they're combined hydronics.
7 So I might like to want to do an all electric
8 building, so we'd get down to zero net energy.
9 But right now currently I can't model a heat pump
10 combined hydronic system except for one of these
11 integrated tank and really cheap heat pumps
12 sitting on the top that have no capacity. So you
13 don't have enough (inaudible) to do space
14 heating.

15 MR. ZHANG: Yeah, correct.

16 MR. SPLITT: So that's a problem with
17 the modeling, yeah.

18 MR. ZHANG: I agree with you, we say
19 this is actually a modeling issue in new
20 technology and new systems. How do we calculate
21 their performance, I think so yes we need to
22 address that.

23 MR. OSANN: A quick question, you
24 mentioned a plumbing design check, ACM plumbing
25 design check. What's the acronym mean?

1 MS. BROOK: Alternative calculation
2 method, it's what we call our performance
3 compliance approach.

4 MR. OSANN: Okay, all right. And on one
5 of your later slides on potential strategies you
6 had one of your listed bullet points at the
7 bottom were water measures, water efficiency
8 considerations. But you didn't talk about that
9 at all. Did you have some particular thoughts
10 about that?

11 MR. ZHANG: I think this is limited.
12 This is limited in a sense we, for a central
13 system especially, actually for the single family
14 we'll have the same issues. We often have the
15 situation you wake up in the morning, the pipe's
16 cold and you have to drain water, cold water down
17 to cold water to get hot water. And those kind
18 of things need considered in your overall system
19 performance, because the benefit of a centralized
20 system is trying to reduce that kind of waste by
21 bringing hot water closer to your fixtures.

22 But individual systems may or may not
23 achieve the same kind of savings or goals. I
24 think so this is more a generic consideration,
25 especially when considering overall system

1 performance and not just the energy efficiency,
2 water efficiency be considered. I don't think I
3 going to specifically discuss a particular
4 measure here, because we strictly speaking will
5 only talk about hot water systems here. We're
6 not talking about, for example, appliances
7 efficiencies like low flow rate showers. I think
8 that's not what I'm trying to discuss here.

9 MR. OSANN: Right and I did notice there
10 wasn't any reference to end use measures or
11 product selection or anything like that either,
12 clothes washers or dishwashers or anything like
13 that.

14 MR. ZHANG: That's related to what we
15 can regulate in Title 24. Now potentially there
16 are ways and I think it would be more creative in
17 code design, require more creative code designs.
18 And I have to say here we are not considering
19 that. In general Title 24, I would just say that
20 appliances efficiency has to match with federal
21 efficiencies requirements.

22 And we have been talking in the past,
23 for instance during the last code cycle to give
24 different compliance passes. For example, in one
25 compliant path you use minimal efficiency

1 appliances, but have to add some level of cost
2 effective renewable technologies. And the other
3 stretch maybe is it allows you to not use renewal
4 technology but to make up the loss you have to
5 voluntarily use high-efficiency appliances.

6 MR. SPLITT: Correct.

7 MR. ZHANG: And those are the concept of
8 what we discussed, it was proposed by different
9 people. But in general here we are not trying to
10 -- in my slides I'm not trying to address that
11 issue. I think that can be a much broader topic.
12 Jim please?

13 MR. LUTZ: Yeah, Jim Lutz, Lawrence
14 Berkeley National Lab. Just a question on
15 whether individual water heaters are more energy
16 saving, water saving than central systems. And
17 do you actually compare or have you just been
18 told to keep them separate and rate them against
19 themselves rather than against each other?

20 MR. ZHANG: One thing we do know in my
21 slides, previous slides, is this overview of hot
22 water system efficiency. CEC's overall 30
23 percent, this is average, right?

24 MR. LUTZ: Right.

25 MR. ZHANG: There's a huge variety here,

1 so one third of that is due to a distribution
2 loss. So that definitely leads to consider how
3 you can reduce it. The fact is that in a big
4 building like those you have a couple hundred
5 feet of pipe, recirculation loop running hot. At
6 least the supply pipe you have to keep it hot, at
7 least very lukewarm 24/7 just there present. It
8 is a huge amount of heat loss, so we should
9 consider what are the alternatives in terms of
10 applications and come -- I'm not saying that I
11 have a solution now. But just conceptually say
12 that here is 30 percent versus you have a
13 individual water heater, which if you bring up in
14 apartment settings close to the fixtures and your
15 energy factor is .6 and you add another 10
16 percent loss, you still achieve maybe overall 50
17 percent overall system efficiency. Conceptually
18 there is some potential, how are you going to
19 work it out? I think we can talk more details
20 and in the breakout sessions and we probably can
21 discuss in details.

22 Recently I had some discussion with
23 Gary, you know, similar issues presented in
24 single-family buildings where you do have
25 individual hot water heaters. But you still have

1 large distribution losses. What are the
2 strategies to them, Mike? I think we can talk
3 some more together.

4 MR. OSANN: Do you have data on the
5 relative share of new construction in multi-
6 family sectors that's served by individual
7 domestic hot water versus central systems. Do
8 you know how that's split?

9 MR. ZHANG: Actually I did have some
10 data, I don't remember the number I have to say.
11 Nehemiah, do you know that offhand?

12 MR. STONE: Yeah, I know it offhand, but
13 it's about ten years old now, the data that I
14 have. And that's in Southern California about 40
15 to 50 percent had central DHW, in Northern
16 California about 15 to 20 percent had central
17 DHW.

18 One of the issues that was mentioned by
19 Pat was that there's a lot of these other
20 considerations and so people are putting in
21 individual systems also. Well, it turns out
22 there's a number of insurance companies that will
23 give you really, really higher rates if you have
24 individual water heaters compared to having a
25 central water heating system, because obviously

1 if something goes wrong while somebody's on
2 vacation you've ruined a few floors of stuff
3 rather than having it down in your basement and
4 just dealing with the distribution pipes.

5 So there are a lot of other
6 considerations, some of them tilt one way. And I
7 don't know why the insurance companies in
8 Southern California focus that way whereas
9 Northern California they don't, but that was the
10 data we got. And that was from interviews with
11 the builder, developers and architects and
12 engineers.

13 MR. ZHANG: Amin, please?

14 MR. DELAGAH: I had a few broader
15 questions for you. Any idea of estimates of
16 annual gas load in multi-family? And can you
17 also --

18 MR. ZHANG: What load?

19 MR. DELAGAH: -- describe what multi-
20 family is as there is some overlap with what I
21 covered with hotels. Does multi-family also, is
22 it concerning nursing homes, you know, just a
23 little bit more overlap of what would be multi-
24 family and what the overall annual gas load would
25 be in the multi-family segment?

1 MR. ZHANG: I don't think I have that
2 overall like you do, like millions of sums for
3 the whole multi-family buildings. I don't think
4 I've ever done that calculation, it can be done
5 but I don't have the number. As for example, I
6 might assume maybe you have an interest in
7 comparing for example to rest homes and office
8 buildings, for other building types. And yeah, I
9 think it's useful but I don't have the number.

10 In terms of a building kind of
11 definitions what is defined as multi-family
12 buildings, and that's a very tricky question.
13 Actually sounds by -- I'm not so sure I have all
14 the answers, but in terms of the overlap with
15 hotels and motels we know they're considered
16 separate in the code. However it's just for DHW
17 systems that current Title 24 requires DHW
18 systems in hotels, motels buildings follow the
19 same requirements as those in multi-family
20 buildings. They're still considered two types of
21 buildings, but they just have to follow the same
22 code requirement.

23 Given that I say you can have mixed-use
24 buildings. And that I think what they need to do
25 is, for example, for compliance purposes, for

1 example, from the simulation you have simulate
2 them separately. So you do have a first floor
3 commercial use restaurants and that part of the
4 space, restaurant space, you have to follow
5 whatever the compliance for restaurants versus
6 the rest of the building to compare to for
7 example, for multi-family buildings compliance.

8 MR. DELAGAH: Thanks Yanda, I had a
9 couple of comments and one more question, the ACM
10 appliance check thing was something new that I
11 didn't know much about. Something that we
12 struggle in Food Service Technology is insulation
13 is required on the recirc system. You know,
14 sometimes we see it on the actual drawings, but
15 even in new facilities we'll see bare copper
16 pipe. There is really no compliance on that.

17 And something that we've seen some chain
18 restaurants do is to ask their contractors to
19 send photos of insulation on the piping before
20 they put the sheetrock up. Would that be
21 something that just emailing photos, is that
22 something that you could have some kind of simple
23 compliance to make sure we have insulation on hot
24 water piping? Is that something, you know any
25 comments on that?

1 MR. ZHANG: I think that what you
2 suggest is what the building department would do
3 for a compliance verification. But one thing I,
4 again going back to the insulation code require I
5 would say is it potentially has a large impact
6 from the utility programs. And I think that if I
7 probably also was to add is the HERS rating
8 systems in California for residential building,
9 which reach into multi-family also had a large
10 impact. Where, you know, in addition to building
11 department inspections you can have HERS raters
12 come to have a further look of the compliance and
13 especially those looking for credit.

14 And I think the market industry probably
15 sees this as the norm now, as that you can take
16 advantage of those. You can take advantage and
17 implement efficiency measure potentially getting
18 incentives. And you also potentially have HERS
19 raters to enforce. And I think that has a large
20 impact and what you said for example,
21 noncompliance in restaurant buildings, it's not
22 just for pipe insulation. I think it's kind of
23 an overarching issue for lighting, for HVACs, and
24 for many other things. They're not always in
25 compliance I think. It can sometimes be a common

1 issue. I don't have a particular suggestion for
2 that.

3 This is also, the utility program has
4 been struggling with in how to conduct or carry
5 out what they call compliance enhancement
6 programs, how to effectively do that. That's
7 something they have been struggling with too.

8 MR. DELAGAH: All right, Yanda. I have
9 one last comment on drain water heat recovery and
10 I've heard of the horizontal drain water heat
11 recovery systems that you can put underneath
12 let's say the shower-tub, that can be used not to
13 send out preheated cold water to the water
14 heater, but just to the --

15 MR. ZHANG: To the shower?

16 MR. DELAGAH: -- cold water line to
17 preheat the cold water line with the hot. Would
18 that be more feasible for your multi-family
19 application?

20 MR. ZHANG: In that case it can be used
21 for single-family or multi-family or anything,
22 because you basically recover heat for a
23 particular fixture, right? I think, the way I
24 see it is if you have longer usage times, more
25 usages, that's always going to help you to

1 improve the recovery efficiency. Because usually
2 those kind of bulky heat -- at least I see
3 today's design heat recover, heat exchanges
4 itself is fairly large heat capacitor. So itself
5 maybe suck a lot of heat first, not maybe a lot.

6 Now the only thing, that way I say the
7 disadvantage is that then for each shower or each
8 fixture you're going to have a heat recover
9 exchange is in the cost issue. And you kind of
10 lost the advantage you might be thinking in
11 multi-families you can have. You know, one or a
12 couple of heat recovery exchanges to collect
13 where is heat from different apartments in a
14 central save the overall system cost, then you've
15 lost that. So other than that, yeah I'd say --

16 MR. ZHANG: A

17 MR. STONE: Can I jump in on that just a
18 little bit? One of the options from all -- I
19 mean, what you described about capturing the heat
20 right at the place where the hot water is being
21 used is exactly the right approach for single-
22 family. And it's kind of like Larry's
23 technology, there was a right approach for using
24 demand control for a single-family, which is not,
25 couldn't be translated directly over to multi-

1 family. With multi-family on something like this
2 John can probably speak to it better than I can.

3 But what you can do is have the copper
4 pipe that wraps around the drain connected to
5 your return loop in your hot water loop, so it
6 doesn't have to be, you don't have to connect,
7 you know, the heat. Preheating the cold water
8 for the shower, it can be adding heat to the
9 return loop going back to the tank in a central
10 system.

11 MR. DELAGAH: So it might if the return
12 is going back at a higher temperature you're
13 actually cooling the return, so that'd be a
14 challenge.

15 MR. STONE: It wouldn't be that hard to
16 put a control that solenoid, so it would sense
17 that.

18 MR. HOWLETT: Yeah, I have a question.
19 I'm not sure if this question for Yanda, it make
20 be a question for Carl Hiller or somebody else
21 who's here. But when we looked at the code last
22 time I don't think we looked at requiring three-
23 eighths inch pipe to supply some fixtures. And
24 it's my understanding that if we're looking at
25 low flow rate faucets, three-eighths pipe is

1 probably sufficient, but I'm not sure if three-
2 eighths is enough if we're looking at 2 GPM
3 showers or maybe still 2 1/2 GPM showers. Does
4 anybody have information on that and is that
5 related to the pipe run length, is there a
6 certain length of pipe that we can serve with
7 three-eighths but not beyond that length?

8 MR. ZHANG: He's smiling, Gary?

9 MR. KLEIN: And the answer is yes, go
10 ahead Jon.

11 MR. CHANGUS: Oh, you go ahead.

12 MR. KLEIN: Technically as flow rates
13 have gone down we should be able to use skinnier
14 tubing at least on the branches or twigs that
15 serve individual fixtures. There's nothing wrong
16 with the physics, this is a case of where
17 everyone's from Missouri and no one believes it's
18 going to happen until we show them. Carl's
19 standing up here to talk for a minute, but I
20 think if I remember correctly we never got more
21 than about two gallons per minute ever under any
22 conditions going through three-eighths tubing.
23 And so there's a functional limit due to the
24 friction resistance caused by the water flowing
25 through the pipe in and of itself.

1 And so there's probably some cases,
2 there are cases where we should be able to use
3 it, we certainly should be able to use it for
4 fixtures that are less than 2 GPM maximum flow
5 rights, which constitutes most lavatories and
6 some showers, but not a tub-shower combo. You'll
7 end up with limits and people complaining
8 probably. But that's based on nothing or very
9 little data and a bunch of mathematics. I think
10 we ought to build a few and test them and see if
11 they do what we're hoping they do or they don't
12 and then we'll know.

13 MR. VAN DECKER: Okay, it's Gerald Van
14 Decker speaking, I've been given the floor with
15 an unmute and I've been anxiously waiting to
16 talk. I'm calling from Canada, I apologize if
17 I've interrupted any course of flow here. I have
18 several comments, I'll first address adding the
19 heat to the return loop with drain water heat
20 recovery. The simple answer is no, definitely
21 not, never. It will generally remove heat from
22 the return loop ending heat losses and save
23 nothing. Just examining the temperature ranges
24 and whatnot if your return loop was going to be
25 at, for example, 50 Fahrenheit sure maybe you

1 want to consider doing that, but it's not.

2 A general comment, at 33 percent
3 efficiency the entire hot water system is
4 generally horrendous as people have discussed.
5 And I've been waiting to speak for quite awhile
6 on this, but the whole building recirculating
7 system distribution loss has also increased space
8 cooling loads, which should be a penalty I think
9 in Title 24 in some way. One can mitigate
10 insurance risk with overflow pans with individual
11 water heaters, that is done and it's slows the
12 drain for example.

13 Echoing earlier comments and some
14 numbers I suggest that there should also be a
15 credit for point of use water heating in multi-
16 residential. And in addition to reducing standby
17 losses you're actually going to get a reduction,
18 because users are now paying for their
19 consumption. They're going to reduce their
20 consumption and I can give you an example of
21 that. Years ago, one of my relatives used to
22 turn on the shower for a half an hour and let it
23 run before thinking about getting in the shower
24 to steam up the washer. That just drove me
25 absolutely crazy and I think that would give you

1 another substantial savings in some cases.

2 One could also use off-peak electricity
3 to heat water. An electric water heater is a
4 great thermal battery and off-peak is much more
5 environmentally benign and lower cost. And that
6 could be included as a requirement if you're
7 going to do something like that.

8 Now regarding drain water heat recovery
9 market that's what I'm the expert in. I'll first
10 state that I'm a professional engineer and
11 founder of the company, which manufactures the
12 power pipe drain water heat recovery systems.
13 And I've been in business, started the company 13
14 years ago actually, I've been doing this for 13
15 years. It may be new to some of you folks, it's
16 not new to me. Gary knows me quite well, he's
17 laughing, sorry.

18 Last July two standards were published
19 for drain water heat recovery systems. These
20 cover performance and safety referencing of both
21 has been approved by IECC. And there are at
22 least three manufacturers with performance rated
23 and labeled heat exchangers. And sorry, this is
24 not a commercial, but I've got to bring you guys
25 up to speed a bit here. There are more than

1 10,000 apartments and hotel suites with our units
2 specifically, if I can speak of what my company's
3 done and running for up to nine years now. And
4 there are more than 25,000 homes with our units
5 installed and that's in North America, Europe and
6 somewhat in Japan.

7 Building energy code credits are
8 available in Ontario, France and the United
9 Kingdom. I personally participated in the ACEEE
10 Hot Water Forum the last three years. I'll begin
11 this year presenting in the fall. People like
12 Nehemiah know that I'm real. He may think I'm
13 crazy, but he knows I'm real.

14 There have also been lead energy credits
15 for many years now and I am sorry to say guys,
16 and I'll take part of the blame for this,
17 California's way behind the drain water heat
18 recovery. And the presentation of drain water
19 heat recovery here in this forum is quite
20 incomplete. I'm sorry, take it as it is and
21 nobody contacted me and I'm the main person
22 working in this in the industry plus my 19
23 employees.

24 But per preliminary analysis in the
25 presentation of multi -- it was stated that in

1 multi-family the long distances between the
2 boiler room and the hot water fixtures make it
3 very difficult. Well, that -- we just don't
4 install it that way. That's just not the way
5 it's done. The units are normally done for every
6 four washrooms, it could be one for every one, it
7 could be up to one for every six depending upon
8 design constraints and payback requirements. And
9 they're installed in the main drain stacker and
10 separate drain and then it ties in. You don't do
11 central systems for the entire building, it's
12 just not cost effective. And you do preheat the
13 cold water going to the shower and to the washer
14 and fixtures.

15 And again we have 10,000 apartment
16 suites and hotel suites running this way for many
17 years. We weren't contacted about this. Oh
18 well, that's too bad. I don't feel too bad about
19 it, I should do a better job out there. Falling
20 film drain water heat exchangers typically serve
21 four washrooms as I said and they can have a 100
22 plus year maintenance life. I mean, it's for
23 your life. They substantially increase effective
24 hot water capacity, which actually can fix
25 problems or will fix problems with heat pump

1 water heaters for example that can't keep up to
2 the load. Or you can reduce tank size and reduce
3 recovery rates.

4 And they're simple to install during new
5 construction, but they're very difficult to
6 retrofit and that's a shame but that's the
7 reality. But they do become part of the
8 building's infrastructure and I think Gary Klein
9 will echo that very well.

10 Horizontal drain heat recovery, a
11 comment about that, there are actually shower
12 stall type systems available in Europe. They do
13 not perform very well. They are not double-wall
14 vented, I cannot imagine how they'll ever be
15 approved here for use, because they're not
16 inherently safe. But they are used in Europe
17 somewhat. Not to any big degree, it's usually
18 falling film heat exchangers.

19 You can put any unit horizontal with
20 falling film. For example, a two-inch unit will
21 have about half the performance being horizontal
22 versus vertical for falling film type. But it's
23 still much more cost effective than solar water
24 heating.

25 So I rest my comments, anybody have any

1 questions for those comments or rebuttals or
2 anything?

3 MR. STONE: Yeah, this is Nehemiah. It
4 wasn't Gary that laughed, it was me.

5 MR. VAN DECKER: Thanks for your laugh.

6 MR. HILLER: Yeah, this is Carl Hiller.
7 One of the comments I stood up to make, your lead
8 in makes it a good segue. First of all let me
9 state I'm a fan of heat recovery of just about
10 any method, you know, drain water is one of many
11 heat recovery methods. One of the things you
12 have to be a little bit careful of when you talk
13 about using your drain water heat recovery. To
14 preheat the cold water that you're going to mix
15 with the hot water to reduce energy is when you
16 think about it, the only reason you're using the
17 cold water to mix with the hot water is because
18 the hot water was hotter than you needed it to
19 be.

20 So the logical thing to do would be to
21 turn to your hot water temperature down. And
22 when you do that in the limit you use straight
23 hot water and there is no cold water use and so
24 how you integrate a drain water heat recovery
25 system has to take that into account. I

1 personally in my house, set my temperature down
2 so that we take our showers with straight hot
3 water.

4 And therefore using a drain water heat
5 recovery to preheat the cold water would
6 accomplish nothing. You know, it would have to
7 go to my entering cold water into the tank to
8 accomplish anything. So that's one of the many
9 factors one has to consider when designing a
10 system.

11 MR. VAN DECKER: But Carl, you cannot
12 legally or I shouldn't say legally, I'll speak in
13 Europe, you cannot do what you do with the water
14 heater, because of Legionella risk. You cannot
15 have the water heater at 105 or 110 Fahrenheit,
16 it's impossible. You have to have at least --
17 well, in the United Kingdom they're a bit crazy,
18 you have to have it at least at 140. But I
19 understand the standards of the sub-point
20 temperature is 120. That is even considered
21 risky in some countries.

22 But you are absolutely right, if you do
23 set it down to that point then that's a problem.
24 By the way, that's actually if you do have
25 individual water heating I have to state that I

1 have a conflicting interest with that. But if
2 you do have a individual water heating in multi-
3 res then you don't have that problem, because you
4 are doing equal flow to the cold side of the
5 shower to the water heater. And you will get
6 more performance, you will get more energy
7 savings.

8 MR. HILLER: Well, just let me comment
9 that I know a lot of Legionella. I'm on the
10 ASHRAE 188 Committee and I have been doing things
11 in Legionella for a long time, so I'm not going
12 to go there. I know what the issue is, you're
13 right it can be a concern. But it's only a
14 concern, you know, to a certain level and one has
15 to trade off the risk factors involved.
16 Especially it has to do with who gets exposed.
17 You know, what you would do in a healthcare
18 facility or an AIDS care facility would be
19 entirely different than what you would do in a
20 place where there are primarily healthy people.
21 So I'm not going to say anything more on that
22 subject. But what you do is different depending
23 on the application.

24 MR. VAN DECKER: Agreed.

25 MR. HILLER: The other comment I was

1 going to make was in regard to the three-eighths
2 inch diameter pipe. Gary's right in that there
3 is some research needed and it varies with pipe
4 type. You know, plastic behaves differently than
5 copper and other things and we really don't know
6 what length at what flow rate we can get out of
7 them.

8 I know when I did my lab tests on three-
9 eighths inch pipe I made it 160-foot long, so I
10 could measure the Delta-T accurately because it
11 was going to be going through so fast. And then
12 I found I couldn't get it going through that
13 fast. So I could've made it half that length,
14 because at 160 feet I could only get 2 1/2 GPM
15 through it. But I probably could have 4 or 5 GPM
16 I'm thinking at 20 feet. The problem is I
17 couldn't measure the heat loss at 20 feet,
18 because the resident's time traveling through the
19 pipe was 2/10ths of a second or something. So
20 there is some research necessary there.

21 We know by having the long pipe for the
22 measurement purposes when we can measure
23 accurately the heat loss, but we still need to go
24 back and figure out what's the longest pipe we
25 can use as a function of the flow rate we're

1 trying to get. We don't know that part yet.

2 MR. VAN ABDULLAH: I just want to add
3 that in the Southern California Gas Company we
4 have done a number of projects for multi-family
5 recirc loops for central water heaters. And as
6 far as we know the health code does not permit
7 the water temperature to go below 120 degrees.

8 MR. TAM: I have some questions online.
9 George Nesbitt, are you there?

10 MR. NESBITT: Can you hear me?

11 MR. TAM: Yes.

12 MR. NESBITT: Yes, George Nesbitt, I'm a
13 HERS rater. A couple things I want to hit on,
14 looking at the RAS data, the average single-
15 family so this is single -- oh sorry, residence,
16 single-family and multi-family throughout
17 California. Thirty percent of the total energy
18 is gas and electric is water heating as well as
19 space heating. So 30 percent each to 60 percent,
20 so obviously getting reductions in water heating
21 is important.

22 A couple of things, condensing boilers -
23 - there is a lot of ignorant out there even
24 among manufacturers, manufacturers reps,
25 engineers, contractors. The needs for low return

1 water temperatures, which kills the high
2 efficiency. There is massive heat loss typically
3 in the boiler room, so this is a function of pipe
4 insulation and pumping, missing pipe insulation,
5 poorly attached gaps at turns, unions not
6 insulated, bald out.

7 Other equipment I've seen: heat
8 exchangers not insulated quite common, also
9 clamping directly to the pipe versus insulating
10 the pipe and clamping over the pipe is another
11 issue. Recirc loops are obviously massive energy
12 use, most of the systems I see no control,
13 temperature control is a lot less frequently.
14 And the end control, I have managed to convince
15 one client to go to demand control. Heat traps
16 is something I don't see a lot of, it's more
17 important if you don't have a loop or well even
18 if you have a loop, if you have demand control.
19 I don't see a lot of heat trapped.

20 I'm surprised Gary hasn't -- Gary Klein
21 hasn't mentioned low-friction fittings like long-
22 sleeved 90s. I think we require them on pools
23 now, but not on plumbing. Speaking of controls,
24 I see a lot of space heating boiler systems where
25 the pump in the loop is operating year-round even

1 if it's 100 degrees outside. So I don't know if
2 outdoor reset is required, but it's certainly
3 something we need, we should be requiring. As
4 well as rather than just controlling the whole
5 loop controls that would only turn on the loop if
6 there's an individual demand as well as the
7 appropriate outdoor temperature.

8 Pumps, I know in the code I don't think
9 there's much credit available for say variable
10 speed or pumps that have a little better control.
11 The issue of combined space heating and domestic
12 has come up. I've done a lot of residential
13 combined, but I also convinced one multi-family
14 project to go to a combined system. So rather
15 than having separate water heater space boilers
16 they're using the same boilers and then a tank.

17 And a heat exchanger, although I have I
18 think seen one space heating that came off the
19 domestic loop on a newer multi-family.

20 And I think we really need to look at
21 the issue of central boilers versus individual
22 water heaters on multi-family. I still see a
23 fair amount of individual systems. What is the -
24 - at what point does it make sense to go to a
25 central and I think some of what drives it is

1 also, you know, metering each unit. And I've
2 seen it on affordable housing, but that means
3 running gas lines and meters and everything to
4 every unit too. So, you know, they go through a
5 lot of costs and then, of course, upkeep to
6 replace a lot of individual units. So I think
7 more research on that.

8 Then solar hot water, we really need to
9 create some HERS measure for it, because as part
10 of our job is checking compliance for programs.
11 And a lot of projects, multi-family projects now
12 especially affordable, almost all of them have
13 solar hot water. The CECS chart is limited to a
14 certain amount of square footage, so we might
15 need to work on that.

16 I've also noticed the solar fraction,
17 even with a high solar fraction on single family
18 you don't get a lot of credit. Whereas I have
19 some multi-family projects where all their
20 savings, you know, they're getting 73 percent
21 solar fraction and condensing boilers. And their
22 compliance margin on the water heating budget is
23 phenomenal. But I also see a lot of solar hot
24 water tanks that are a long, long, long way from
25 the boiler. And then of course, with all the

1 loop losses they're doing less.

2 And the last thing I'll hit on is
3 commercial water heaters versus residential water
4 heaters. Currently the only way you can
5 prescriptively put in a water heater on a change-
6 out in residential is if it has an energy factor.
7 Yet there's a lot of commercial water heaters
8 going in that should require a performance
9 calculation, but they're going in any way. So
10 that's something we need to look at is commercial
11 versus residential water heaters.

12 And that is it. Oh, and last question
13 is the breakout session, can we participate
14 online or is that going to -- are we going to be
15 allowed?

16 MS. BROOK: This is Martha, George. I
17 don't know, let's -- what are you going to be --
18 why don't we figure out. We'll figure out during
19 lunch what we're going to do with our breakout
20 sessions and then we'll announce to you and
21 others online. So if you want to participate you
22 can either --

23 MR. NESBITT: I can be there in my car
24 in an hour and a half, but yeah it'd be nice even
25 if we could, there's a lot of us online. So

1 perhaps we could have a breakout session with
2 just those of us online?

3 MS. BROOK: Well, yeah you guys could
4 sing "Kum Ba Yah" and get back to us and -- okay,
5 now we'll talk about it seriously. You know, but
6 we need to keep going George, because we're like
7 over an hour late or behind our schedule. So we
8 need to get on to the next topic and we'll let
9 you know right after lunch how those breakout
10 sessions are going to go for the online
11 participants.

12 MR. ABDULLAH: This is Ahmed, I just
13 want to add something regarding. This road map,
14 hopefully we will be discussing about existing
15 buildings as well. Some of the issues that
16 George raised is a big challenge in
17 implementation as far as energy efficiency
18 programs, because of the baseline comparison for
19 energy efficiency is always assuming a system
20 that is Title 24, so therefore it is in
21 compliance. So we are unable to roll out
22 programs that actually address noncompliant
23 systems.

24 On the other hand if we come up with a
25 new widget, let's say a better water heater or a

1 control system or whatever, if we have to install
2 that it could appear to be cost effective. But
3 if you install it and then you could bring the
4 system back to compliance it may no longer be
5 cost-effective, because you've got to have the
6 added cost. So those are the challenges we face
7 with the existing market.

8 MS. BROOK: Well, good think we don't
9 have any acceptance requirements on the water
10 heating system, so compliance will be easier or
11 noncompliance will be easier. Yeah, no I think
12 this is a big issue for existing buildings,
13 existing equipment where we've already raised it
14 with the PUC and we'll be doing more of that in
15 the existing building work that we're doing under
16 758. The useful life of equipment and the
17 assumptions about you need to baseline, be in
18 code, are huge impediments to existing building
19 retrofits and we know it. And we need to do
20 something about it.

21 But today we are going to focus mostly
22 on code, but our code does reach into existing
23 buildings. So I think that will be covered
24 there. But if there's no other immediate multi-
25 family questions I'd urge us to move on to

1 single-family and then I would recommend that we
2 break for lunch right after that. And then Danny
3 and I can talk over lunch about getting us back
4 on schedule.

5 So with that I think we thank you,
6 Yanda. Thank you very much, and we're going to
7 ask for Marc to come up.

8 MR. HOESCHELE: Hello, I'm Marc
9 Hoeschele, Davis Energy Group and I'll be talking
10 about single-family water heating. And I'll be
11 presenting with Larry Brand, Gas Technology
12 Institute, who's going to talk about combined
13 hydronic and how that fits into the picture.

14 So with Davis Energy Group I've been
15 involved in water heating activities for 25 years
16 and Codes and Standards. We, Davis Energy Group
17 developed the first detailed water heating
18 methodology back around 1990, still doing water
19 heating research for Codes and Standards as well
20 as through the PIER Program and DOE's Building
21 America program. We're also doing some studies
22 there on, you know, advanced system technologies
23 and modeling opportunities.

24 So what I'm going to do is provide an
25 overview of the single-family market and present

1 some recent research results that we collected on
2 a GTI-led project that was funded by PIER.

3 This is a California Residential
4 Appliance Saturation survey or RAS data from 2010
5 that shows the breakdown of gas energy usage for
6 residential consumption. And the previous
7 version of RAS, which I believe was 2005 showed a
8 roughly equal breakdown of water heating and
9 space heating. And the 2010 survey shows water
10 heating becoming, you know, roughly half of the
11 gas consumption in residences and space heating
12 decreasing with the efficiency efforts and so
13 forth.

14 From the CEC Energy Almanac 2009 data
15 there's statewide residential consumption
16 estimates, which is presented here in cubic feet.
17 So we have 460 billion cubic feet of gas consumed
18 in the residential sector as of 2009. So what
19 I'm trying to do here is work through some
20 numbers to kind of disaggregate what we're
21 looking at in terms of single and multi-family.

22 Going back to RAS the average California
23 household is at slightly over 190 therms of water
24 heating per year. The saturation of natural gas
25 water heaters in single-family homes is about 88

1 percent. You know, very high saturations for
2 various reasons including fuel costs, Title 24,
3 relative fuel costs of gas and electric. But
4 Title 24 is pushing people to gas, so very high
5 saturations.

6 In terms of census data we're looking at
7 a little over 12 million households in California
8 and roughly 70 percent are single-family. So,
9 you know, breaking that, breaking the residential
10 gas consumption down by the 49 percent for water
11 heating and then 69 percent single family we look
12 at our rough estimate is that about 70 percent of
13 water heating use in California is in single-
14 family homes and the remaining 30 percent in
15 multi-family.

16 And, you know, the data Yanda was
17 presenting in terms of recent construction
18 characteristics, clearly there has been a lot
19 more multi-family activity. Whether that's
20 likely to remain a trend moving forward, it'll
21 affect this balance. Looking at the single-
22 family load in the data we collected in the
23 recent field monitoring project we're estimating
24 that of 165 billion cubic feet of gas consumed
25 annually, about 34 billion can be associated with

1 the pilot energy and gas storage water heaters,
2 so the continually burning pilot of about 450
3 Btus an hour. So to keep the tank hot and do a
4 little bit of useful water heating, you know,
5 we're consuming roughly 20 percent of the
6 individual water heater gas consumption.

7 So I'll talk a little bit about this
8 project, this PIER Project that was just finished
9 the end of last year, the title "Facilitating the
10 Market Transformation to Higher Efficiency Gas
11 Fired Water Heating." And there are several
12 people in the room who worked on this project.
13 It was fairly comprehensive looking at modeling
14 and survey work and field monitoring and a whole
15 range of activities.

16 I'm going to talk a little bit about the
17 field monitoring, because there are some
18 interesting findings there. We monitored 18
19 homes statewide, both with their existing water
20 heaters and then after an advanced water heater
21 was installed. So roughly seven or eight months
22 pre-monitoring, four to five, six months post-
23 monitoring of data and very high-resolution data
24 was collected at these sites. We looked and of
25 the sites, 12 were in Southern California, 6 in

1 San Diego Gas and Electric territory, 6 in So Cal
2 Gas and then 6 up here in Northern California.

3 A range of advanced technologies were
4 tested in this project including entry level,
5 ENERGY STAR, storage water heaters. So they're
6 at the .67, .7 EF level. And also condensing and
7 hybrid storage water heaters that, you know, A.O.
8 Smith has that hybrid product that's been on the
9 market and there are others coming. And also
10 some condensing storage units were tested and
11 then condensing and non-condensing tankless.

12 A hybrid system is basically the
13 market's response to take a tankless unit and add
14 a down-sized storage tank to correct some of the
15 delivery issues that part of the market isn't
16 happy with. So it's one of the emerging
17 technologies that's looking to marry the two
18 system types.

19 So with this monitoring from the 18
20 households here what I'm plotting is daily hot
21 water recovery load in Btus per day. And the red
22 star shows what the energy factor rating is
23 defined at, which is basically 64.3 gallons per
24 day at a 77-degree Delta-T. So that's where
25 storage and tankless water heaters are rated at

1 or a majority of the residential products.

2 What I've plotted here then is the
3 observed daily hot water recovery load from our
4 field sites in terms of Btus per day based on the
5 number of occupants. And, you know, this was one
6 of the key findings of the study. I mean, the
7 hot water loads that we see in California are
8 much lower than what the energy factor test is
9 suggesting. And this has implications for
10 performance of both storage and tankless units,
11 but more significantly for storage, because the
12 system is in standby a greater percentage of the
13 time.

14 So we had three households out of the
15 eighteen that exceeded the energy factor level.
16 But there were many, many that were 20 percent of
17 what that rating level is and its milder cold
18 water temperatures is a big factor and lower hot
19 water set points. So instead of energy factor
20 looking at a 77-degree Delta-T, cold to hot we
21 were more in the 50 to 55 range. So summer
22 loads in particular are very low, especially in
23 Southern California.

24 So from the various sites then with each
25 bar representing a site and PG for PG&E, LA for

1 So Cal Gas and SD for San Diego this is the -- we
2 didn't monitor the base case water heaters for a
3 full year, but we extrapolated based on the data
4 collected. So this is a breakdown of annual
5 pilot energy and projected total energy,
6 including the pilot for that household. Of all
7 these sites there was PG5 was a tankless to begin
8 with; all the rest were storage water heaters of
9 different vintages.

10 And so several interesting things, there
11 is a noticeable variation on the pilot energy
12 between some of these sites. On average it was
13 40 therms per year and there is a site or several
14 sites, ST3 and LA4 are both very close to where
15 the -- well the pilot energy is greater than what
16 was required to meet the end use loads and the
17 distribution losses.

18 MALE VOICE: Increase the pilot.

19 MR. HOESCHELE: Right.

20 MALE VOICE: Just make sure nothing runs
21 but the pilot.

22 MR. HOESCHELE: This graph now is kind
23 of the summary graph looking at all the different
24 product classes and combining the data. On the
25 left axis we have annual delivery efficiency.

1 You could call it an energy factor even though
2 it's not defined exactly the same, but energy out
3 divided by energy in. And on the right axis is
4 the daily recovery load in Btus instead of
5 gallons per day, primarily because in California
6 we have this situation where we're doing a lot
7 less water heating than certainly in cold
8 climates.

9 So for each of the product types then
10 we've broken down, you know, generated an
11 efficiency curve. The red dotted line shows
12 where the average household was, which is at
13 about 27,000 Btus per day, about 7800 Btus
14 recovery load per person given the occupancy of
15 the homes we had. And that compares to the
16 41,000 Btus in the energy factor test.

17 So with Amin and Yanda's presentations
18 with central systems and highly loaded systems,
19 the reality is you're operating the unit in an
20 environment where the load is much higher than
21 the standby. And what we observed in many
22 applications is, you know, it's kind of the
23 opposite and what that's doing is moving us down
24 these efficiency curves; down to the point where
25 the efficiency, especially the storage water

1 heaters is really dropping off.

2 The purple lines show the average load
3 for that product class that we observed in the
4 field, so the way that the units were distributed
5 among the households there was different load
6 variations. And the fact that condensing storage
7 was the highest load was a decision made for our
8 bigger households to make sure there weren't
9 going to be any capacity issues in satisfying the
10 loads. As you can see the storage units tend to
11 drop off a lot faster at lower loads. The
12 tankless shows some performance degradation, but
13 it's most severe at the really low levels.
14 Condensing storage and condensing tankless are
15 intersecting at about 45,000. They're right over
16 the energy factor load level. And beyond that
17 the condensing storage started to show an
18 efficiency advantage.

19 So a key finding here is loads affect
20 the performance and the standards do take that in
21 to account as they handle storage water heaters.
22 They do as the load, the ACM model projected
23 load, decreases with smaller building size. It
24 affects the efficiency of the water heater and
25 that's accounted for.

1 So for the base storage the existing
2 storage water heaters in the field their average
3 nameplate efficiency was .58 EF. As we found
4 them under observed loads they performed at 8.50,
5 so lower loads is a factor there. There could be
6 performance degradation over time even though
7 Robert Davis tested one of the 10-year-old water
8 heaters that was pulled out and it performed
9 pretty much up to original specs. So loads and
10 degradation over time are two factors at play.

11 Likewise for the ENERGY STAR water
12 heaters, .67 was average product class rating and
13 they performed slightly under that. Tankless,
14 .82 and they came in at .71. The condensing
15 tankless a little bit over .94, they came in at
16 .77. And condensing storage with a thermal
17 efficiency rating of 92 percent came in at about
18 75 percent.

19 If we take all, use those performance
20 curves on the prior graph and move everything to
21 the energy factor rating level, we have this
22 efficiency correction to reflect what the impact
23 is. So if we brought our existing water heaters
24 up to the energy factor level of performance we'd
25 gain 6 EF points bringing them to within 97

1 percent of rated efficiency. Likewise, Energy
2 Star has a smaller correction, but it's looking
3 right in line too.

4 Tankless, about 10 percent underrated
5 and that's kind of consistent with the Title 24
6 degradation, the cycling degradation of 8
7 percent, which is assumed across the board for
8 tankless units. Condensing tankless showed a
9 little bit bigger degradation, so maybe looking
10 forward there's an opportunity to provide a
11 different correction factor for condensing
12 tankless water heaters.

13 And condensing storage they're not going
14 to have an energy factor rating, at least the
15 units we tested, so they came in at about 80
16 percent of their thermal efficiency. And thermal
17 efficiency doesn't take in to account the standby
18 effects, but it is how the units are presented.
19 Nehemiah?

20 MR. STONE: Clarifying question on this,
21 can you explain the relationship between those
22 first three columns? The way they are labeled I
23 would assume that I could add what's in the third
24 column to what's in the second column and I would
25 get what's in the first column, but it doesn't

1 work out that way. So can you explain the
2 relation?

3 MR. HOESCHELE: Oh, okay average rated,
4 so that's nameplate efficiency. And so monitored
5 is our aggregated, monitored efficiency for that
6 product class. And then the correction is if we
7 move up or down the efficiency curves that we've
8 defined, that's the correction we would apply.
9 So the base storage would go from .504 to .564,
10 so it's not quite at the .58 nominal class
11 rating. It's at 97 percent of that.

12 MR. STONE: Okay, so where's efficiency
13 correction coming from? I guess that's --

14 MS. BROOK: So what, in the field they
15 couldn't replicate ENERGY STAR test conditions,
16 so that's what the efficiency correction is, is
17 to get it back to the ENERGY STAR or not ENERGY
18 STAR, but the federal energy factor test
19 condition.

20 MR. ABDULLAH: I think it's the recovery
21 amount correction, because in the field the
22 recovery was lower than the test recovery.

23 MR. HOESCHELE: So using the shape of
24 this graph is how we move from the purple point
25 where it was observed and we adjust it to the

1 energy factor level. So the base storage is
2 coming from here, .504 and we're moving it up to
3 .564, if it had seen the loads it was rated at.

4 MR. VAN DECKER: This is Gerald Van
5 Decker, how are these curves produced?

6 MR. HOESCHELE: Well, so we had all this
7 data and we combined, looking at on a daily
8 basis, we looked at the recovery load and the
9 energy input and with that variation we could
10 define these curves and average them across the
11 product class.

12 MR. VAN DECKER: Okay, so right on
13 topic, it's really cool you've done this
14 actually. I have submitted to ResNet and
15 actually the EPA had a correction factor somewhat
16 years ago. But I've submitted to ResNet and now
17 submitted the document to the Energy Commission,
18 an all-inclusive equation. It's this really
19 nice, big, elegant equation that I presented at
20 ACEEE last year. Gary Klein is quite familiar
21 with it.

22 And it corrects for the load, it
23 corrects for the temperature, the sub-point
24 temperature water heater, your inlet temperature;
25 you can actually calculate your energy factor for

1 any day if you know the load and all these
2 numbers or for an average day in the month,
3 whatever you want. So I think it's similar to
4 this and it's based on first principles. And my
5 little sneaky thing in there is it adds drain
6 water heat recovery into that, so you get a whole
7 water heating efficiency and it also includes hot
8 water distribution efficiency, which Gary has
9 input into.

10 MR. HOESCHELE: Right, and the standards
11 do reflect, you know, there is a curve in the
12 standards that adjusts the rated performance of a
13 storage water heater based on the load. A
14 tankless water heater has a straight cycling
15 degradation penalty currently.

16 MR. ABDULLAH: So Marc, I have a
17 question.

18 MR. VAN DECKER: I'm sorry, just on
19 that, I'm not familiar with that, so I'm going to
20 need to ask you for that reference later.

21 MR. HOESCHELE: Okay, yeah there's an
22 appendix.

23 MR. VAN DECKER: Or if you can provide
24 it to Gary Klein.

25 MR. HOESCHELE: Yeah, there's an

1 appendix that documents the full water heating
2 methodology.

3 MR. VAN DECKER: Is that used in Title
4 24 now?

5 MR. HOESCHELE: Yes, it has been since
6 1990.

7 MR. VAN DECKER: Okay, thank you.

8 MR. ABDULLAH: Marc, I just had a
9 question. In this correction are you taking in
10 to consideration the standby losses and somehow
11 or not? I don't know.

12 MR. HOESCHELE: Well, yeah I mean it's
13 buried in the data, the standby effect, and
14 that's explaining the tailing off of the
15 efficiencies.

16 MR. STONE: Okay, thanks. I hate to
17 sound stupid, but I do it often. I guess I'm
18 still not clear, that red column there, is this
19 something you developed from your research or is
20 it something that you got from ASHRAE or is it --
21 I mean where?

22 MS. BROOK: No, it's from the chart.

23 MR. HOESCHELE: No, it's from the chart
24 basically.

25 MR. STONE: I still don't see it, Marc.

1 I don't --

2 MR. KLEIN: Microphone, please.

3 MR. HOESCHELE: Oh, Jim?

4 MR. LUTZ: What he did was he fit the
5 daily, each day's data for that type of water
6 heater, came up with a curve. That's the curve.
7 And then said the daily recovery load and the
8 energy factor test is 41,132 Btus, so if you go
9 along that curve to 41,132 Btus per day that's
10 what that type of water heater has, sees it from
11 the field if it was operated under energy factor
12 testing conditions. I think I'm just saying this
13 correctly.

14 MR. HOESCHELE: Yeah, that's correct.

15 MR. LUTZ: So the difference between --
16 so go back to the actual table. The difference
17 between what that type was rated by the energy
18 factor from a lab test whenever it was tested
19 versus what they saw if it was operated at energy
20 factor loads in the field is what the efficiency
21 correction is. So what that's saying is the
22 energy factor test is actually pretty accurate
23 relative to the field, if only the field would
24 use that many Btus per day of hot water.

25 MR. ABDULLAH: And also I think Jim the

1 numbers are lower for California, because of the
2 way we use water; whereas the other factors are
3 sort of a national average.

4 MR. LUTZ: Well, that's why actually the
5 efficiency corrector is very small if you look on
6 this column. And that's because if you took it
7 back to what was used in the energy factor,
8 whereas the field efficiency is much slower, and
9 the adjusted and rated is based on the California
10 field versus energy factor.

11 You're still looking puzzled Nehemiah.

12 MR. STONE: Yeah, it seems to me that
13 either there's one column in there that is not as
14 necessary or there is a column that is necessary
15 that is not there, because it still doesn't make
16 sense to me, sorry.

17 MR. HOESCHELE: There could be an
18 additional column added for energy adjusted
19 observed field efficiency.

20 MS. BROOK: Okay Nehemiah, Jim and Marc
21 are going to take you to lunch and we're going to
22 keep going.

23 MR. HOESCHELE: So there are
24 implications here too. These were all existing
25 houses in the field study of five to fifty years

1 old. You know, a wide range of -- and we didn't
2 very carefully document all the hot water end
3 uses. We did take some shower flow measurements
4 in the master shower, but looking forward as we
5 go to more water efficiency, better appliances,
6 other technologies that are going to reduce loads
7 we have to keep this in mind where these water
8 heaters are going to end up as loads go down.

9 In terms of gallons per day we're
10 looking at about 15 gallons per day per person,
11 so compared to the 64.3 in the energy factor test
12 that's about a quarter average household size
13 California nationally 2.9, 3.0. But your single
14 and two-person households, this has implications.
15 So I think that's the last one for me, so Larry
16 is going to talk.

17 MR. BRAND: You'll sum up later?

18 MR. HOESCHELE: What's that?

19 MR. BRAND: You'll sum it up later?

20 MR. HOESCHELE: Yeah.

21 MR. BRAND: Okay, I wanted to, I'm Larry
22 Brand with GTI. And I just wanted to touch on
23 combo. It's already been touched on twice, so
24 maybe this won't take that long. And then at the
25 end Marc has some summary comments.

1 But this is just some of our work on
2 combo systems. Our friends in Minnesota call
3 them combi systems integrated heating and hot
4 water. The work that we are doing in our lab,
5 we're doing tankless technology, but you can do
6 them all: storage tank, tankless, combo and
7 hybrid systems and high efficiency and mid
8 efficiency. It's pretty agnostic to the equipment
9 that you use, but basically these are the
10 components: the hydronic air handler, the coil
11 and the tankless water heater.

12 There's a lot of research going on on
13 these systems, so we wanted to kind of introduce
14 this in to the Title 24 process, because these
15 things are coming. There are a lot of
16 manufacturers who are producing product and
17 there's some benefit to California. I think
18 we've heard today, already in multi-family some
19 folks are installing these devices with some
20 pretty good success.

21 And then so here is some of the work
22 that's being done, market analysis all the way
23 through energy efficiency pilot programs that we
24 have a project that we're working with Ahmed on
25 in So Cal Gas territory as well as Nicor,

1 NYSERDA. Building America has a couple of
2 different activities going on in combo systems
3 and then the gas industry itself, through ETD,
4 that's the industry research consortium. So
5 plenty of research going on, so these products
6 are coming and I think one of the things we'd
7 like to do in residential is make sure that
8 they're adequately characterized for Title 24, so
9 that's kind of my bottom line.

10 So energy savings over typical, we're
11 just comparing here a 94 percent combo systems
12 versus a standard 78 percent AFUE. Make a
13 minimum furnace with a .59 energy factor water
14 heater. So you kind of get the idea that it's
15 not a fair comparison here with different
16 baselines for efficiency, but because you have a
17 single thermal engine the cost associated with
18 the high efficiency tankless water heater and an
19 air handler should be considerably less expensive
20 than a standard furnace and a standard water
21 heater, because you have the single thermal
22 engine, you have that benefit. Right now the
23 market clearing prices don't get you there, but
24 eventually you should get there.

25 So here's some of the benefits comparing

1 those two devices. Cold climate gives you a
2 little bit better savings than a moderate climate
3 and then you can see the annual cost savings of
4 238 bucks for cold climate NYSERDA. And then hot
5 climates, which we tend to see more here in
6 California, around in the hundred dollar kind of
7 a neighborhood. So depending on market clearing
8 prices, it could go that way.

9 Just to mention the utility pilot
10 programs of that 90 percent energy factor, this
11 is NYSERDA and Nicor Gas in Chicago, so 90 EF
12 tankless water heater and a hydronic water
13 handler from various partners now, and then 40
14 residences were installing these systems with
15 mid-efficiency. We're targeting homes with mid-
16 efficiency furnaces to do the upgrade and doing
17 some data collection sponsored by Building
18 America as well.

19 So DOE has kind of gotten involved.
20 We're doing some field performance. And one of
21 the larger issues is contractor support
22 installation. And this kind of goes back to
23 getting the return water temperature right in
24 order to get the condensing performance out of
25 it, so we're all saying the same thing here. If

1 you have a combo system it's similar to the loop
2 where you're going to be returning warm water to
3 a water heater, so the performance can vary
4 significantly.

5 And if you don't get it installed
6 correctly to reduce the return water temperatures
7 it can affect your performance. Amin talked
8 about this as well in the storage water heaters
9 for commercial. The storage tank water heaters
10 tend to work better in commercial where you have
11 a loop without a constant recirculation system.
12 So if you have cold water you get better heat
13 transfer. We're seeing that in the combo system
14 world as well.

15 There are a lot of barriers and maybe I
16 don't want to get in to these too much, but
17 distribution channels, the existing furnace
18 industry doesn't really care for this product too
19 much. And then some past installation mistakes
20 that were made, you know, poor labeling, those
21 kind of things. So we've seen some poor
22 performance and we have to get over that hurdle,
23 because we know a lot more about these systems.
24 So the package systems where the controllers are
25 designed correctly and then some trade education

1 and training the trades and getting the
2 contractors in line with combo system.

3 But I guess my point here is that a lot
4 of this is going on right now, so I think now is
5 a good time to start talking about how do we
6 apply combo systems in Title 24 and get the best
7 performance that we can get. And I think that's
8 what's in here -- oh, no this is your summaries.
9 We're going to go back to Marc's summary and I
10 can take questions on combo later, but we're
11 trying to get you back on schedule.

12 MR. HOESCHELE: So here I just really
13 developed a fully comprehensive list, but just a
14 few thoughts and discussion points in terms of
15 that road map. On the equipment side Title 24
16 handles storage water heaters pretty well in
17 terms of efficiency versus load and tankless, as
18 we talked about, it looks like based on the field
19 data we collected that non condensing tankless is
20 appropriately handled in Title 24. Condensing
21 tankless, more observed degradation, there may be
22 room for more study there.

23 New products are coming; hybrid water
24 heaters and so forth need more study, how they
25 work and the controls and all that. Heat pump

1 water heaters is certainly an area that is
2 getting a lot of national activity and is
3 certainly a component in all electric Z&E
4 approaches and so forth. And you know, currently
5 it's pretty challenging how they're handled in
6 Title 24 with the relative TDV rating.

7 I don't have a lot of experience with
8 the new beta model that's out there, but the one
9 run I did it came out a little bit worse than the
10 standard gas water heater and whether that's
11 where it should be or not is a point of
12 discussion. But how heat pump water heaters are
13 handled and compared to what base case is an
14 issue.

15 Other emerging products out there, I
16 mean drain heat recovery Gerald has talked about
17 that. And clearly there's interest and a need to
18 get them recognized. Three function heat pumps
19 are limited, but they're also out there and so
20 other technologies like that to make sure that
21 they're handled appropriately in Title 24.

22 Larry talked about the combined hydronic
23 and there is a lot of research coming out and in
24 process that will inform, optimize design
25 procedures. And, you know, the rating side of

1 the equipment is another problem and I know
2 ASHRAE is looking at that. The compliance method
3 that exists is very simplified and definitely
4 needs work. That's been recognized for awhile,
5 but now since technology is gaining traction it
6 needs to be on the table.

7 Plumbing design, which we haven't about
8 much yet, but there is a lot of work going on in
9 model development and understanding single-family
10 distribution as well as multi-family is
11 challenging. Single-family more so, because at
12 least the multi-family you have diversity
13 simplifies how you recognize loads and
14 distribution. In our 18 homes you'll see all
15 kinds of patterns.

16 There was a discussion about insulation
17 and the benefits, and like Yanda said if the time
18 interval between draws, which is a majority or a
19 significant fraction of the draws is small, less
20 than 10 minutes, insulation won't have a
21 significant impact. It'll give you slightly
22 warmer water. If it's over 45 minutes, again,
23 it's not going to have an impact.

24 So understanding the last bullet point,
25 bringing that up, understanding the load patterns

1 is really important and developing something that
2 is representative and defensible is a challenge.
3 Jim's been working on that for several years.
4 Getting to know what new home load patterns look
5 like and usage quantities, is that going to be 20
6 percent lower than where we are now? There isn't
7 a lot of data out there, so all that's important.

8 And then the point right above this
9 compact house design is something that -- this is
10 an idea I'm throwing out there. There is a
11 credit in the upcoming Title 24 that will give a
12 small benefit for a compact plumbing distribution
13 system. But it seems in my mind if we can
14 somehow package an overall compact house design
15 credit that takes in broader benefits, I mean
16 that might be an effective way to get enough
17 savings potential behind it to generate interest.
18 Because right now the way building envelope is
19 handled there's no disincentive to making your
20 house whatever footprint you want. And once you
21 do that, you add more wall area and you also
22 impact the plumbing design and the duct layout,
23 so if we can put all those together it's
24 something to talk about as a potential strategy.

25 So Larry, I don't know if you have any

1 final thoughts.

2 MR. WEINGARTEN: Marc, this is Larry
3 Weingarten. A question about tankless heaters,
4 fairly high degradation, any comment on where
5 that comes from?

6 MR. HOESCHELE: For the condensing or
7 both?

8 MR. WEINGARTEN: For both.

9 MR. HOESCHELE: Well, so the prior work
10 we had done did develop the 8 percent degradation
11 that's in Title 24, it looked at hot starts, cold
12 starts, cycling and applied some generic load
13 profile to come up with a weighted impact. So I
14 mean, that's clearly the factors that are driving
15 the tankless degradation is what is the load
16 pattern, how long are the draws and the time
17 between draws. So the field work done here, you
18 know, I think fairly, reasonably validates that
19 earlier effort.

20 On the condensing side it probably would
21 have to do, and others might have more
22 information here, but not being able to achieve
23 condensing efficiency as reliable, given the drop
24 off valves that the units are subjected to.

25 MS. BROOK: Are you starving? Thank you

1 very much Mark and Larry.

2 What I think we should do is break for
3 lunch and if we could get back at 1:45 we will
4 resume. And for those of you on the phone when
5 we get back at 1:45 we'll let you know what we're
6 going to do for the rest of the day and how you
7 can participate. So thank you very much.

8 MR. VAN DECKER: Sorry to interrupt,
9 were there other questions for this presentation
10 permitted or we're closing it off?

11 MS. BROOK: Yes, but recognize that
12 we're all starving, so we're not going to give
13 you a lot of (inaudible). So yes, if you have a
14 question we can field it.

15 MR. VAN DECKER: I'm just wondering why,
16 I mean the pilot stuff for the -- I'm just
17 wondering why the non-pilot light tank water
18 heaters weren't studied. In looking in Ontario
19 for example, about 95 percent of our tank water
20 heaters, both retrofit and new construction, our
21 EF267 do not have pilot lights.

22 MR. HOESCHELE: Well, so they were
23 studied in the advanced case water heaters. So
24 let's back up here. So the orange line here is
25 the efficiency curve for the entry level spark

1 ignition ENERGY STAR water heaters. You know,
2 again, the low loads and the parasitic energy,
3 these about 110 kilowatt hours a year for any of
4 these units that are hooked up to electricity,
5 which is any of the tankless or --

6 You know, so that, again it's just
7 another parasitic that is degrading the
8 performance. As you get higher loads that impact
9 gets diminished, but as far how common they are I
10 don't think they are that common in California,
11 but at the ENERGY STAR level. Basically on an
12 economic basis Robert Davis had one of those
13 units in his house and he figured he was saving
14 three cents a day I think or something like that
15 between gas savings and the electrical energy
16 increase.

17 MR. VAN DECKER: In Ontario there's no
18 additional cost for them, because they're just
19 standard. In fact I think you can more for a
20 lower EF water heater, because they're just not
21 available.

22 I just have a comment too, because I may
23 not be able to attend the session this afternoon.
24 Gary Klein has developed a very good model for
25 the hot water distribution efficiency, for

1 measuring it at two levels as well for what that
2 correction should be. And just another comment
3 on that and drain water heat recovery is there
4 part of it the infrastructure of the house and
5 the both together, they're low loft 5 to 10
6 primary water heaters. So primary water heaters,
7 tank, tankless whatever, heat pump water heaters
8 will come and go, but these systems will stay and
9 that's why they do need to be very seriously
10 considered.

11 And drain water heat recovery is not
12 just a cold climate technology; as with all heat
13 recovery technologies the percent savings is
14 about the same, regardless of location. It does
15 depend upon habits in the house without question,
16 but energy savings is proportional to the load.
17 If you have no load you won't save anything of
18 course. So anyway thank you very much and thanks
19 for letting me speak.

20 MS. BROOK: Thank you.

21 MR. KLEIN: Oh, Martha too, we won't be
22 able to get back until 2:00 for lunch. We won't
23 be able to get back until 2:00 with lunch.
24 There's 30 of us going out to find food.

25 MS. BROOK: Okay, 2:00 o'clock we'll

1 return and that's 15 minutes less of road mapping
2 work, but that's fine and we'll see you then.

3 (Off the record for lunch 1:06 p.m.)

4 (On the record at 2:04 p.m.)

5 MR. KLEIN: Martha, an estimated time
6 for folks on the phone would be between 3:30 and
7 3:45.

8 MS. BROOK: Okay, so between 3:30 and
9 3:45 approximately based on this morning's
10 schedule it might be like 4:15-ish so let's --
11 anyway ballpark around that time for checking
12 back in with us.

13 And now we're going to turn it over to
14 Danny Tam, who's going to walk us through some
15 standards information.

16 MR. TAM: Okay, and welcome back. In
17 the interest of time I'm going to try to go
18 through these slides quickly, so just bear with
19 me. Just a reminder all the slides today and the
20 transcript's going to be available online and
21 we'll post them shortly. So I borrowed this flow
22 chart from the OAL website, so basically it all
23 starts right here at the legislature.

24 MR. LUTZ: You immediately jumped into
25 an acronym that I did not know.

1 MR. TAM: Oh, sorry.

2 MR. LUTZ: And I'm actually pretty up on
3 the acronyms, so there's probably people who need
4 even more help on them than I do.

5 MS. BROOK: The OAL is the Office of
6 Administrative Law. It's basically how all state
7 agencies develop regulations. And if that's not
8 -- that picture is, you know, pretty much
9 gobbledygook as far as I'm concerned. So it's
10 like that's why the standards that you don't like
11 the other end, because of this picture right here
12 so you can blame it on that slide.

13 MALE VOICE: (Inaudible)

14 MS. BROOK: Yeah.

15 MR. TAM: So it all starts right here at
16 the legislature. In our case the Warren Alquist
17 Act gives the Energy Commission authority to
18 develop energy efficiency regulations.

19 So a bulk of the work is actually done
20 right here, what we call pre-rulemaking
21 activities. Basically we're getting inputs
22 from everybody: all the stakeholders, the
23 utilities builders, building officials to get an
24 idea what should be included in the next round of
25 standards.

1 Bear in mind that anything that we
2 consider, any measures, what to look at from the
3 perspective that it needs to be cost effective,
4 it's actually technically feasible and it
5 actually saves energy. So there's quite a lot of
6 negotiating going on in this pre-rulemaking phase
7 and hopefully all the differences will be worked
8 out. Because once after the pre-rulemaking
9 period we've got to place where we call a NOPA, a
10 Notice of Proposed Rulemaking and also Initial
11 Statement of Reason, which is basically to
12 summarize what we're proposing and why we're
13 doing what we're doing. And along with that
14 we've got to propose the proposed standard with
15 what we call the express terms.

16 Once we publish these documents it
17 immediately starts the official rulemaking
18 process.

19 So the public have 45 days to comment on
20 anything that we propose and they can respond to
21 a docket. So at the end of the 45-day period
22 we're going to have a business meeting right here
23 in the Commission with the commissioners. And
24 they will consider all staff inputs and comments
25 that we've received to see if the proposed

1 measure should move forward.

2 So at that point if there's no changes
3 non-substantial, we can move into what we call
4 the Final Statement of Reason. So basically it's
5 again a summary of what we're proposing, why
6 we're doing what we're doing. In addition, any
7 comments that we receive will be part of this
8 Final Statement of Reason. And also any comments
9 then we have to respond to each comment. Now you
10 understand why we would like to work out any
11 differences at this part of the pre-rulemaking
12 phase, because we have to respond to every single
13 comment when we have the actual rulemaking
14 process.

15 So in the case that there is actually
16 changes in the standard and they're substantial
17 we might move in to this 15-day period. It's
18 similar to the 45-day, but now it's 15 days, so
19 we have 15 days to comment. At the end of that
20 period we have another business meeting and at
21 that point if there's -- if all parties agree we
22 move into the Final Statement of Reason.

23 And a lot of people don't know this, but
24 the Energy Commission actually doesn't own the
25 entire Title 24 process. The Building Standard

1 Commission actually owns the whole Title 24, so
2 we developed Part 6 of Title 24. So when we're
3 done we give everything to the Building Standard
4 Commission and they do their rulemaking process
5 and at the end we adopt their regulation.

6 Okay, I mentioned everything we do has
7 to be cost effective, so at the beginning of any
8 standard we look at our life cycle costs and also
9 to see if we need to update any of our
10 methodology, any weather files, TDV values. And
11 you can see, like I said we get inputs from
12 everybody, so if you want anything to be included
13 in the standard the pre-rulemaking part is where
14 you want to have your voice heard, basically.

15 MR. LUTZ: Can you explain TDV?

16 MS. BROOK: Do you want me to do that
17 Danny?

18 MR. TAM: It's Time Dependent Valuation.
19 I'll briefly talk about it in the next
20 presentation.

21 MS. BROOK: Okay, so let's wait for
22 Danny to talk about it and then we can talk about
23 it more after that.

24 MR. TAM: And as far as the life cycle
25 costs effectiveness for residential building we

1 look at a 30-year life cycle. For nonresidential
2 we're looking at 30 years for envelope and 15
3 years for lighting and mechanical and we're using
4 a 3 percent real discount rate.

5 So for 2013 we had a lot of support from
6 IOU'. They had a lot of stakeholder meetings in
7 support of the standard, so for 2016 we've
8 probably got go through the same process. So be
9 on the lookout for between now and next year
10 we're going to start having workshops related to
11 Title 24.

12 MR. HILLER: You say you have a 30-year
13 life cycle --

14 MR. KLEIN: I can't hear you if you're
15 not on the microphone or I can't record it.

16 MR. HILLER: Carl Hiller, when you say
17 you do a 30-year life cycle, I hope you're not
18 inherently assuming the life of the equipment is
19 30 years though, right? Like you wouldn't assume
20 a water heater lasts for 30 years?

21 MR. TAM: Right, so it's 15 years for
22 lighting and mechanical, for --

23 MS. BROOK: But just for non-res we
24 don't assume you're replacing your water heater
25 in that 30-year time period.

1 MR. HILLER: So you're assuming the
2 water heaters and --

3 MS. BROOK: Everything in the
4 residential structure is lasting for 30 years,
5 that's what our assumption is.

6 MR. HILLER: So you're looking at water
7 heater lives of 30 years?

8 MS. BROOK: Well, we're not -- what I'm
9 telling you is that we're not assuming a
10 replacement midstream of the equipment. We're
11 treating the whole residential -- you know,
12 everything in that residential structure over a
13 30-year time period.

14 MR. HILLER: So that would tend to over-
15 value products, because they're not really going
16 to last that long. They're going to run 10, 12
17 years.

18 MS. BROOK: Yeah or 30, right. I mean
19 how often we replace the equipment -- I mean, I
20 think this is a huge discussion. And certainly
21 one of the good things is that you can
22 participate in our process, because we do update
23 it before we start every standards update. So we
24 make those assumptions, but that's been the way
25 we've done it for many, many years. But the --

1 and Jon's going to come up here maybe to clarify,
2 but I don't think that we assume a equipment
3 replacement in the middle of residential 30-year
4 time period.

5 MR. HILLER: So just so I'm clear, if --

6 MS. BROOK: Wait, wait, wait let me --
7 let Owen -- Owen's looking at me like I'm crazy,
8 so.

9 MR. HOWLETT: Sorry about that, was that
10 obvious?

11 MS. BROOK: Uh-huh..

12 MR. HOWLETT: I'm sorry, but for some
13 technologies we do, so for the lighting stuff, if
14 they're --

15 MS. BROOK: For non-res lighting, non-
16 res lighting, right?

17 MR. HILLER: And res lighting, so if
18 there are things that we know need to be replaced
19 like light bulbs we factor that in on what we
20 think is a reasonable replacement cycle. So I'm
21 not sure what's been done in the past with water
22 heaters, but I don't think there's anything
23 inherently in the TDV methodology or within our
24 constraints that would prevent us from assuming a
25 ten-year life or --

1 MS. BROOK: That's right. What I'm
2 saying is that we state our assumptions at the
3 beginning of the update and that's when we set it
4 in stone and we want all the analysis to be done
5 the same way. So my understanding was that
6 everything on the residential side had a 30-year
7 life. And if we haven't been doing it that way
8 then you should jump up and correct me, because I
9 don't anything else about that.

10 MR. ZHANG: Yanda Zhang and I just want
11 to comment. For 2013 code do up, for example,
12 the solar water heating for multi-family
13 buildings?

14 MS. BROOK: Multi-family is considered
15 non-res.

16 MR. ZHANG: Well, you have low rise
17 multi-families. And we also had, if you
18 remember, this high efficiency water heater ready
19 measure where we compare if you're going to use
20 high efficiency for condensing water heater
21 versus the conventional water heater during the
22 30 years. We did assume --

23 MS. BROOK: One replacement?

24 MR. ZHANG: Yeah, replacement is
25 routine, so there are incremental costs that

1 occurred at the beginning and somewhere in the
2 middle.

3 MS. BROOK: Okay, so I think, and we
4 don't have to go in to the details now, but what
5 I'm claiming is that we'll document it. We do
6 document it, it's on our website, and we will
7 update it every code cycle so you could look at
8 what we've documented for the 2013 standards. If
9 you think it's unacceptable or not clear and not
10 thorough we can certainly, and we will certainly
11 at the beginning of the 2016 update, update it
12 again.

13 MR. TAM: Okay, this is a tentative
14 schedule for 2016. Like I said from between now
15 and next year we'll have this pre-rulemaking
16 process with the goal to have the standard
17 adopted on January 2015 and effective the date of
18 January 1st, 2017. Any questions on rulemaking
19 in general?

20 MALE VOICE: Can you move back one
21 slide, please?

22 MS. BROOK: So we're going to publish
23 this slide deck as Danny said too, so you don't
24 have to commit this to memory.

25 MR. LUTZ: When you, everything's based,

1 how do you decide what the baseline is for what?
2 So if you adopt something as a standard, then
3 it's relative if the life cycle cost is lower
4 than the baseline?

5 MS. BROOK: So the baseline is the
6 current standard.

7 MR. LUTZ: Okay, and --

8 MS. BROOK: Yeah, because that's what
9 we're assuming is that is actually that we're
10 getting full compliance and that is the baseline
11 in the buildings, right? But that's only true
12 for new -- well it's true for new construction
13 and also additions and alterations. We're
14 assuming that the baseline is you're meeting the
15 current code and --

16 MR. LUTZ: At the time you do it, yeah.

17 MS. BROOK: Yeah.

18 MR. VAN DECKER: Sorry, Gerald Van
19 Decker here. I might have missed that. What is
20 the mandate or the goal for the next, for the
21 2017 code to be how much more, how much better
22 than current code?

23 MS. BROOK: Well, there the Energy
24 Commission staff does not want to continue to use
25 a percent better than code metric, because we

1 think it disadvantages us to a significant
2 degree. Because as we get closer and closer to
3 zero net energy performance level the energy that
4 we're actually managing under the Title 24 update
5 is smaller and smaller every code update. So to
6 say that we're going to get 50 percent or 30
7 percent better sounds very impressive, like we're
8 doing this huge list and it's going to impact the
9 industry in this major way and it's a tiny bit of
10 energy. So we're really trying to move the
11 metric to a whole-building energy use per square
12 foot metric and say that's our target.

13 We haven't established those targets for
14 the next two code updates, but we're, you know,
15 aiming to do that. We don't want to get in a
16 position where we're claiming we're going to get
17 50 percent better in a code update. Then
18 everybody starts freaking out then, because
19 that's a major change when it's really a tiny bit
20 of energy. And that's the reality of where we're
21 going and what we've already experienced and we
22 intend to change that.

23 MR. VAN DECKER: Okay, so to add to that
24 I know the European value is the energy per
25 square foot and I think they inherited it from

1 California. And there's obviously some risk in
2 that, because it can result in larger houses for
3 the same compliance. And what -- but
4 specifically for hot water or for water heating
5 the loads are not really well modeled or based
6 upon per square foot, but rather bedroom count,
7 for example, like resident does. So I'd just
8 like to see some decoupling of that if you could,
9 if you're going to do it on a per square foot
10 basis.

11 MS. BROOK: Well, we're not, we wouldn't
12 for loads that don't change per square foot.
13 We're not going to develop a metric per square
14 foot, but they're going to get bundled in to a
15 whole-building energy per square foot number. So
16 we may determine that the target or the goal for
17 water heating, you know, based on the current
18 water heating load metric that everybody agrees
19 to, but when we roll it up in to a whole building
20 Title 24 target it's going to be a whole
21 building, it's basically a kBtu per square foot
22 number. Now having said that, that kBtu was
23 going to be source energy number. We call that
24 TDV, Time Dependent Valuation of Energy. It's
25 basically an hourly source energy multiplier for

1 electricity, propane, gas and other fuels. And
2 Danny is going to get to that in his next
3 presentation.

4 MR. VAN DECKER: Okay, thank you.

5 MR. TAM: If there's no more questions
6 I'm going to move into energy budget. Okay,
7 first a couple of definitions. Energy budget is
8 the maximum amount of TDV energy that a proposed
9 building can be designed to consume. And TDV
10 energy is the time dependent value energy. It's
11 a time varying energy used by the building that
12 reflects all the costs of energy at the statewide
13 level. Basically TDV is a hourly value based on
14 the climate zone. It's different for -- depends
15 on which fuel type that you have: electricity,
16 propane, gas. So depending on what it is it has
17 a huge difference. You can see when I show you
18 the runs that I did.

19 MR. LUTZ: So is there one TDV for the
20 building even though it's using electricity and
21 natural gas?

22 MS. BROOK: No, there's a different TDV
23 multiplier by hour, by climate zone and by fuel
24 type.

25 MR. LUTZ: So does a building have a

1 budget of electricity and a different budget for
2 natural gas and can you trade them off?

3 MS. BROOK: You can trade off, you can
4 definitely trade off from fuel to fuel, because
5 everything is converted to a TDV metric and at
6 that point it's all tradable.

7 MR. LUTZ: Okay.

8 MS. BROOK: I think the important thing
9 to understand about TDV is that it's not a site-
10 energy metric it's a source-energy metric. We're
11 counting the cost of energy all the way back at
12 the power plant for electricity, so it counts the
13 energy that it costs to generate electricity, to
14 transmit it, to distribute it and similarly for
15 natural gas. It doesn't count extraction costs,
16 but it counts transmission and distribution costs
17 for natural gas. And it also attempts to put a
18 value on carbon.

19 So it's really important, we think for
20 California, because it gives us the right
21 valuation for energy at every time of the year.
22 So we can, and our standard do, take into
23 consideration when energy is being used
24 throughout the day and throughout the year. So
25 that's why buildings in California, at least

1 buildings that comply with our standards, really
2 focus on shifting that cooling peak either
3 reducing it through good envelope design or that
4 really good air conditioning equipment and
5 systems. Because that summer afternoon energy is
6 very, very expensive at least for the foreseeable
7 future; now that all might change.

8 And what we do also in our TDV
9 methodology is we look at the costs of the
10 current electricity grid and we also look at the
11 costs of what we think the electricity grid is
12 going to be in 30 years. And we kind of bring
13 all that forward in to like a weighted average
14 valuation. So we're not just taking a static of
15 view of what we think the costs are for the
16 systems that provide houses and buildings energy.
17 We're looking at it from today's viewpoint and a
18 future viewpoint.

19 And you can argue a lot about what that
20 future looks like and that's why we update the
21 TDV every three years, because we want you guys
22 to participate with us in understanding what
23 we're doing and what we need to value. And
24 because all sorts of things are changing in terms
25 of grid costs and grid impacts, you know, with

1 renewable energy and all sorts of other things.
2 We need to update it regularly and understand
3 what we're doing together.

4 MR. BRAND: One, I'm going to ask a lot
5 of questions, so at some point you'll just have
6 to tell me to shut up. So the TDV is that if you
7 had the time of use water heaters, the ones that
8 shut off during the day, an electric resistance
9 water heater that shut off during the day might
10 actually look pretty good?

11 MS. BROOK: Right, it would.

12 MR. BRAND: Okay.

13 MS. BROOK: And in fact well Danny is
14 going to show you some comparisons he did with
15 our new compliance software just so you can get
16 an order of magnitude of what we're looking at
17 for water heating. Not all the distribution
18 system options, but just some basic water heater
19 types. For the first time in the 2013 standards
20 electricity is more cost effective than propane
21 for water heating, so that forced us to change
22 our comparison baseline. So if natural gas is
23 not available you'll now be compared to electric
24 water heater, not a propane water heater. That's
25 directly related to how we value the energy costs

1 in our TDV methodology.

2 MR. BRAND: What are the units of
3 measurement of -- what are the units that the
4 time dependent value energy is expressed to?

5 MS. BROOK: It's basically both dollars
6 and can be converted to kBtus, so we use both
7 depending on how we're communicating it. It's a
8 valuation so it is a cost metric, but when we're
9 bean-counting within the software and looking at
10 loads we're really using it as a kBtu number.

11 MR. DAVIS: This Robert Davis, PG&E. So
12 you're talking about water heaters here. When
13 you're talking about the ratings of different
14 water heaters you've got electric water heaters
15 and you've got gas water heaters, trouble is a
16 lot of gas water heaters also use electricity for
17 various components. So can you foresee, because
18 of the TDV, requiring or asking for separate
19 accounting for the electric consumption and the
20 gas consumption of these water heaters?

21 MS. BROOK: Yeah, actually I was just
22 thinking about that at lunchtime. That, you
23 know, Marc mentioned the fact that you weren't
24 going to save any money if you went to an ENERGY
25 STAR water heater. And I started thinking about

1 that and I think our software right now would say
2 that you will save money, because I don't think
3 we're doing that. We're not counting the
4 electric part. So that's certainly something we
5 should talk about in our breakout sessions, and
6 yeah.

7 MR. LUTZ: Then you'll also to have to
8 talk to the Appliance Standards here at the
9 Energy Commission to get them to make sure that
10 the electricity use and the gas use is reported.

11 MS. BROOK: Is reported, right. Right,
12 Yeah.

13 Okay, so let's keep going Danny.

14 MR. TAM: Okay, so basically there's two
15 ways to comply for Title 24. First is the
16 prescriptive standard. Basically there is a set
17 of measures that if your building has these
18 features, you know, it complies and meets the
19 minimum standard of Title 24. And it's all based
20 on kind of standard and building type.

21 So let's say you want to do something
22 different or you want to be better than the
23 minimum. In that case you're going to go to a
24 performance standard, which you have to use a
25 Commission certified compliance software in which

1 case it will model the building. So for
2 residential it's looking at the heating, cooling,
3 ventilation and water heating. And for non-
4 residential it's heating, cooling, ventilation,
5 indoor lighting, water heating and sun processed
6 energy system.

7 So what the software is doing is
8 basically calculating two things: the energy use
9 for the standard design and the proposed design.
10 The standard design is basically using what's in
11 the prescriptive standard and that's what sets
12 the budget: whatever the proposed building
13 meeting of mandatory and prescriptive
14 requirements, that's your energy budget for the
15 standard design. And the proposed design is what
16 your proposed building will look like.

17 And then when it does a comparison when
18 your proposed design meet or exceeds the standard
19 design; that's when your building complies.

20 MR. LUTZ: And that budget is in TDV?

21 MS. BROOK: The budget is in TDV and
22 it's --

23 MR. LUTZ: And that's total TDV?

24 MS. BROOK: -- calculated individually
25 for every building that goes through the

1 software, so it's not a static budget. We don't
2 use prototypes, we calculate that specific to
3 each building that's being proposed in the permit
4 situation.

5 MR. TAM: I want to do a quick overview
6 for this formula. The hourly, it's just that we
7 carefully load together this formula with the TDV
8 multiplier, is how we get the water heating
9 budget. So, the first term, HSEU, is the Hourly
10 Standard Energy Use. It's based on a hourly use
11 schedule, it's different for weekend and weekday.

12 The conditioned floor area is a maximum
13 at 2500 square feet. I think the idea is that
14 any house bigger than that is not really using
15 additional water. And also the Delta-T of the
16 water inlet and water set point.

17 Okay, next that term is multiplied by
18 the DLM, the Distribution Loss Multiplier. The
19 big component of that is our distribution system
20 multiplier, which I'll talk about in the next
21 slide. Basically, depending on what kind of
22 system you have, say, you have a point of use
23 system versus a recirculation system with no
24 control. There's going to be a huge difference
25 as you can see in the next slide, so, okay.

1 And then the second term is what happens
2 if you have solar water heating. So whatever
3 your solar fraction is that percentage of the
4 energy is subtracted from your overall use.

5 The third term, the HRDL, is the pipe
6 loss in recirculation loops. It only applies to
7 multi-dwelling units with a central system.

8 And the last term is the sum of all the
9 direct loss of unfired tanks. And this is all
10 described in detail under our Alternate
11 Calculation Method Reference Manual, it's a
12 mouthful, ACM Reference Manual Appendix E. It
13 will actually describe each term in detail of how
14 they're actually calculated.

15 MR. LUTZ: So, you don't have -- you
16 have an hourly use for each hour of the day,
17 weekdays and weekends, but you don't have the
18 number of draws in each hour. And some of the
19 technologies, like tankless, the number of draws
20 has an impact on the loss and the energy use.

21 MS. BROOK: Right, so right now we're
22 assuming things about that which gets us to sort
23 of gross adjustment to an efficiency number like
24 we do for tankless. We basically have a
25 degradation factor that takes in to account those

1 other things we're not taking into account,
2 because we're not looking sub-hourly.

3 MR. ACKER: Larry Acker here, I've got a
4 question. On tankless water heaters several of
5 the manufacturers are coming out with built-in
6 pumps, systems in them, and they're promoting
7 them quite heavily. How are you calculating that
8 on the energy loss factors?

9 MS. BROOK: Well, we're not. We would
10 have to -- right now I think, and you guys can
11 all correct me because I could be wrong, but
12 we're just using energy factors. So if the
13 energy in the pump isn't embedded in that energy
14 factor somehow we're not capturing it.

15 MR. ACKER: But it makes the water
16 heater run a lot longer, because you're actually
17 on a timer based system. It's like putting the
18 timer on a tankless water heater

19 MS. BROOK: Yeah, so we're not counting
20 that extra time that the water heater is running,
21 because we have standard assumptions about the
22 usage.

23 MR. ACKER: You're basing this on an
24 hourly run? So if it only ran for -- if you had
25 a pump system only ran for minutes a day how

1 would you calculate that?

2 MS. BROOK: We're not and that's one of
3 the things we should talk about in our breakout
4 session and one of the things that Marc suggested
5 is that now is the time to actually dive into
6 water heating modeling, because this is a very
7 high level model. You know, it's not near the --
8 we're doing first principles for the rest of the
9 building and this is what we're doing for water
10 heating.

11 MR. STONE: This is Nehemiah, I just
12 want to give a little bit of perspective on it.
13 Up until the, correct me if I'm wrong, 2008
14 standards there was no HRDL factor in there at
15 all. And so the fact that we have it there now
16 means now we've had a little chance to learn how
17 that's, you know, whether it's right or not and
18 make some adjustments to it. But there was
19 nothing there before that, so we pretended that
20 the central water heater was right outside the
21 door of every apartment.

22 MR. HOESCHELE: Marc Hoeschele, so for
23 single family I mean recirculation systems have
24 been available in the code for awhile. And there
25 is a procedure for accounting pumping energy for

1 the different system types and, you know, demand
2 recirc has a much lower --

3 MR. LUTZ: It gets pulled into the DLM
4 term doesn't it?

5 MR. HOESCHELE: Exactly yeah, so the
6 HRDL is just for the central systems as Danny was
7 saying.

8 MS. BROOK: Yeah, so maybe you should
9 move on. Yeah, so here's where Danny is going to
10 walk us through these distribution multipliers.
11 But basically this is where we're saying we'd
12 like this way to do it; we don't like the other
13 way. And so if the numbers are large that's a
14 good thing, if the numbers are -- is that right?

15 MR. TAM: Yes, so for the standard
16 system trying a branch of a multiplier of one.

17 MS. BROOK: If the numbers are large
18 it's a bad thing, right?

19 MR. TAM: Yes.

20 MS. BROOK: Okay.

21 MR. TAM: So your standard system has a
22 multiplier of one. For instance, the
23 recirculation system with no control has a 6.4
24 multiplier, which is really, really bad. So one
25 of the systems that Marc developed, the compact

1 design requires a HERS inspection, it has
2 multipliers .7. So it's a little bit better than
3 standard design. And point of use has a .03, so
4 it's actually a lot better. So it all depends on
5 what kind of system you have and what type of
6 controls that you have with recirculation system,
7 sir?

8 MR. KLEIN: A question on the volume
9 that's implied by the compact design and the
10 point of use design, is there a volume that's
11 imbedded in that?

12 MR. TAM: It's based on pipe length and
13 square footage of the house. Marc, you want to
14 talk more about that?

15 MR. HOESCHELE: Marc Hoeschele, so the
16 only recirculation systems get a ten percent hot
17 water reduction from the standard assumption, but
18 there isn't any differentiation beyond that
19 between all the other system pipes.

20 MR. KLEIN: Even the compact and the
21 point of use?

22 MR. HOESCHELE: Right, so yeah, so that
23 --

24 MR. KLEIN: That needs to be fixed.

25 MR. HOESCHELE: That needs -- yeah,

1 right.

2 MR. KLEIN: I would observe. If we mean
3 point of use, we say by that, what I think we
4 mean is we're saying that it's close. Well,
5 close is a volume metric thing not necessarily a
6 foot thing and so close is that which is inferred
7 here is that the efficiency of the distribution
8 system is 70 percent better than the base case.
9 So we're assuming there is 70 percent less pipe,
10 if you will and less volume, if you will on the
11 plumbing.

12 MR. HOESCHELE: It's 30 percent, right.

13 MS. BROOK: Thirty percent for point of
14 use, yeah.

15 MR. KLEIN: Oh, you're using point of
16 use, okay. It's one's very much smaller. It's a
17 huge difference and so -- but we ought to be able
18 to give some sense of real numbers for that and
19 we ought to be making adjustments based on the
20 volume in the piping. We were discussing at
21 lunch the purge volume, if you will.

22 MS. BROOK: Okay, well why don't you
23 guys propose a new set of distribution
24 multipliers based on volume. I'd like to see how
25 much they differ from this set.

1 MR. HOESCHELE: Yeah, I understand.

2 MS. BROOK: Yeah.

3 MR. TAM: Okay, we would --

4 MS. TAM: This is Christine Tam, can you
5 hear me? I'm coming in from the phone.

6 MS. BROOK: Yeah, we can hear you.

7 MS. TAM: Hello?

8 MS. BROOK: Yes, can you hear us?

9 MS. TAM: Okay, yes. So I'm with City
10 of Palo Alto and we are doing some analysis based
11 on some of our residents who are considering
12 switching from gas water heaters to heat pump
13 water heaters. And, you know, if we look at the
14 COP of some of the very efficiency pump water
15 heaters it looks like they could be more cost
16 effective than electric water heaters. But in
17 the current 2008 Title 24, and I think also in
18 the upcoming 2013 Title 24, there's a requirement
19 for any homeowners switching from gas water
20 heaters to electric water heaters to demonstrate
21 the lower TDV value using the -- like an energy
22 pro or some sort of a energy modeling tool. Is
23 there something that we can demonstrate, you
24 know, as a whole to get some sort of exemption
25 for the city base given that all our residents

1 are in the same climate zone?

2 MS. BROOK: Oh, so what you want to do
3 is you want to prove once that it's a cost
4 effective thing to do and not have to prove it
5 every time? Is that what you're asking us?

6 MR. TAM: Right, because just even
7 getting a water heater permit is already a step
8 that the resident has to go through. Having them
9 go through the whole energy mulling exercise I
10 think is just extra tough.

11 MS. BROOK: Yeah, no I understand that.
12 If you could, could you send your contact
13 information to whoever you have access to on the
14 -- I don't know if you have Danny's email up
15 there or somebody's, so that we have a Compliance
16 and Enforcement branch in the Commission that
17 deals with your kind of questions. And I'd like
18 you to talk with them, because I don't actually
19 have the answer for you. But I think that they
20 can help you.

21 MS. TAM: Okay, who would be a good
22 contact person?

23 MS. BROOK: Well, maybe the easiest
24 thing is Danny Tam, dtam@energy.ca.gov, and we'll
25 make sure that we get your question answered.

1 MS. TAM: Okay, all right. Thank you.

2 MS. BROOK: Okay, thank you.

3 MR. OSANN: I've got a couple of
4 questions, this is Ed Osann, about this before we
5 move on. One is what do the distribution
6 multipliers get applied to?

7 MS. BROOK: Yeah, so go back up to that
8 equation. It's the DLM term, so it's getting --
9 it's bumping up your hourly standard end use
10 value.

11 MR. OSANN: Okay.

12 MS. BROOK: Which is calculated based on
13 square footage and a canned usage schedule that
14 we use for every building.

15 MR. OSANN: And you say it's bumping it
16 up.

17 MR. HOESCHELE: So there's one piece
18 missing here, this is Marc Hoeschele, there is a
19 standard distribution loss multiplier, which is
20 floor area dependent. It says for, you know,
21 1,800 square foot you're going to have 15 percent
22 distribution loss. The DLM is then applied to
23 that, so it's a scaling factor on the standard.

24 MR. OSANN: And if we're --

25 MR. HOESCHELE: The standard

1 distribution? Well the usage is, I think the
2 standard distribution loss multiplier is kept to
3 2,500 square feet, so yeah.

4 MR. ABDULLAH: So Marc, if this is a
5 2,500 square foot that DLM number, does it have
6 to be multiplied by a correction factor right for
7 square footage?

8 MR. HOESCHELE: If it's more than 2,500?

9 MR. ABDULLAH: No, if it is a standards
10 calculation for a 2,500 square foot home. So
11 that DLM number, does it have to be corrected for
12 area, does it?

13 MR. HOESCHELE: The DLM isn't corrected
14 for area, but there's another term that is
15 multiplied.

16 MR. ABDULLAH: I understand, okay that
17 multiplier could be a one then, unity?

18 MR. HOESCHELE: The DLM yes, yeah.

19 MR. ABDULLAH: Yeah.

20 MS. BROOK: So the way that it's
21 introduced here it sounds like the hourly
22 standard end use already has got that standard
23 multiplier applied to it.

24 MR. LUTZ: Yeah, because it's got --

25 MR. TAM: It's actually a combination of

1 a lot of other formulas too, but this is like
2 embedded in there. So if you want more
3 information look at the ACM Reference Manual
4 Appendix E. It goes in to tremendous detail
5 about how each term is calculated.

6 MR. OSANN: Okay, and then on the next
7 table then these factors that were developed, are
8 these -- is there a computational basis for these
9 numbers or are these essentially judgment calls?

10 MR. HOESCHELE: This is Marc Hoeschele.
11 There is a -- you know, for the last several
12 revisions we've used a distribution system model
13 to -- that on sub-hourly levels can model
14 individual draws and actual plumbing layouts and
15 so forth. I mean, the big question is, again,
16 what is the typical draw profile to apply, so
17 we've looked at different floor plans and run
18 different schedules and this is kind of the
19 synthesis of that.

20 MS. BROOK: So what we've been trying to
21 do historically is not put all of that really
22 detailed nitty-gritty stuff in the compliance
23 software. So instead we've kind of pre-boiled it
24 down to these multipliers. And I think the
25 question on the table is, is that appropriate, is

1 that okay, does it work, or should we actually be
2 doing the individual system level modeling for
3 every building like we do for HVAC systems, for
4 example.

5 MR. LUTZ: Yeah, like you do for
6 envelope and HVAC.

7 MR. HOESCHELE: Yeah, and this is Marc,
8 I guess the argument would be as we discover when
9 we do plumbing surveys in the field you have
10 absolutely no idea what you're going to get in
11 the distribution system. It is pretty random
12 what gets installed. So, you know, there's a lot
13 of assumptions here, but it's trying to keep it
14 simple and computationally more streamlined.

15 MR. TAM: Okay, a new version of our
16 compliance software, CBECS, was released last
17 week. I was able to do some compliance run, but
18 before I do that I want to just go over the
19 climate zones real quick for those of you not
20 familiar. As you know, California is divided
21 into 16 climate zones. For my example I did
22 Climate Zone 3, 9 and 12. Climate Zone 3 is
23 basically coastal, San Francisco bay area.
24 Climate Zone 9 is Southern California, Los
25 Angeles area and Climate Zone 12 is Central

1 Valley, Sacramento area.

2 So for my base case I did a 2,100 square
3 feet single-story house. On the very left column
4 is your standard gas storage. It's a standard .6
5 EF 50-gallon gas tank. And then I compare it to
6 instantaneous gas, it's at .82 EFs. You can see
7 tankless did substantially better.

8 The next two columns you can see how TDV
9 multiplier has a huge impact on your energy
10 budget, because electric and propane, because of
11 the TDV multiplier is a lot more than your
12 standard design. And in the case of propane like
13 Martha said for 2013 it's actually higher than
14 electric.

15 Okay, I also did some comparison with
16 heat pump. So it's interesting, because for
17 Climate Zone 3 and 12 it actually did a little
18 worse than standard design. But for Climate Zone
19 9 it actually did a little better. So it really
20 depends on what climate zone you're in and the
21 climate there.

22 So for the last two systems I want to
23 look at just how the distribution system has an
24 effect on the overall energy. So I went back to
25 a standard gas storage design, but instead of a

1 standard trunk and branch I used the compact
2 system HERS verified. So it did a little better
3 than standard gas. And then I did a HERS point
4 of view system, which in turn is a little bit
5 better than compact, which is what we expected.
6 Okay, sir?

7 MR. SPLITT: I'm Pat Splitt, I just have
8 a question about for the heat pump water heater.
9 What was the standard ambient air condition or
10 location for that?

11 MR. TAM: It's Climate Zone 3, 9 and 12
12 and I used a 2.33 EF. It's just something I just
13 picked from the appliance database.

14 MR. SPLITT: But was it in a garage?
15 Was it in a closet? Was it in a forced air
16 space?

17 MR. TAM: For the compliance software
18 the location of the water heater is not actually
19 part of --

20 MR. SPLITT: But it makes a huge
21 difference for --

22 MS. BROOK: I don't actually know. I
23 was looking around to see if Doug was back. Doug
24 should actually come up and tell us, because he
25 actually programmed the water heating algorithms

1 into the software. So maybe you could just tell
2 us how that heat pump water heater is dealing
3 with weather data.

4 MR. HERR: I'm Doug Herr, the location
5 of the water heater is not considered in the
6 software.

7 MR. LUTZ: Well, what's the ambient
8 temperature that the heat pump water heater sees?

9 MR. HERR: I don't know what the ambient
10 temperature is. It's not considered in the
11 software or any algorithms.

12 MALE VOICE: It was a fixed COP?

13 MR. HERR: Yes, it's a fixed COP.

14 MR. LUTZ: Then why is it different in
15 different climates though?

16 MR. HOESCHELE: This is Marc Hoeschele,
17 so heat pump water heaters haven't changed since
18 the 1990 original detailed water heating
19 methodology. There is, and I can't remember the
20 origins of it, but there is a adjustment by
21 climate zone based on ambient temperature weather
22 file temperature that affects the rated
23 performance, so that's how it's handled. No
24 details as far as where the unit's located:
25 garage, outdoor closet, indoors. So again, it's

1 a very simple, just like the combined hydronic
2 hasn't changed either.

3 MR. TAM: Also the TDV multiplier has
4 got to be different for each of the climate
5 zones, so that might account for some of the
6 differences.

7 MR. HILLER: On the heat pump water
8 heaters the real efficiency is going to be a
9 function of both the entering cold water
10 temperature and therefore the average temperature
11 that the heat pump sees during its heat up cycle
12 and also the air temperature. And especially
13 with heat pump water heaters you can play tricks.
14 You don't use attic care for your heat source and
15 you can enhance the temperature of your heat
16 source. So at some point and time it would be
17 useful to have the ability to model that effect,
18 because right now you're just assuming. You pick
19 a number out of the air in it.

20 MS. BROOK: Well yeah, we're basically
21 using the energy factor, you know, and assuming
22 the test conditions. But we're doing that for
23 every -- I mean, I understand the heat pump water
24 heater is much more sensitive to that, but we are
25 doing the same thing for all the water heaters.

1 MR. HILLER: Yeah, and for even some of
2 the ones that are on the market today, their real
3 infield efficiency is nothing like their rating,
4 their energy factor rating. Because the GE 50-
5 gallon heat pump water heater uses way more
6 resistance heat, because of the way its controls
7 work in real life than it does under the energy
8 factor test where the electrical resistance
9 almost don't come on at all. So that one's way
10 off, because the real COP of a GE heat pump water
11 heater is like half the energy factor rating.

12 I also had a question on what's a point
13 of use gas water heater?

14 MS. BROOK: I have no idea.

15 MR. TAM: I believe the definition is
16 it's depending on what's the size of the pump;
17 it's like five feet from the source.

18 MR. KLEIN: It's point of use for whole
19 house water heating. It's the plumbing system
20 that's compact not the water heaters in lots of
21 places.

22 MR. HILLER: But it's still one water
23 heater then?

24 MR. KLEIN: Yes, yes.

25 MR. HILLER: Okay.

1 MR. TAM: Yeah, the distance from the
2 water heater to any end use point has to be
3 within a certain distance. It's like five feet
4 or something.

5 Okay, the next case I look at 2,700
6 square feet, two stories. It's basically you can
7 see the same trend. It's the 2,100 as you can
8 see.

9 MS. BROOK: Okay, well we asked our
10 questions all the way along. I think what we'd
11 like to do since it's already 10 to 3:00 and we
12 know we haven't even started our breakout
13 sessions yet.

14 And there's folks on the phone that have
15 been patient with us and maybe calling in from
16 all parts of the nation, we would like you to ask
17 any questions you have now or provide comments
18 now, so that you don't have to wait around for us
19 to get back from our breakout sessions, which is
20 likely going to be 4:00 or 4:30. You're welcome
21 to, but we would like to get your questions and
22 comments on the record now if you're willing to
23 do that.

24 And so we would give you a few minutes
25 now to ask us questions or provide comments if

1 you can let the chat window in the WebEx thing
2 know that you want to talk. That would be how we
3 would implement that.

4 MR. VAN DECKER: It's Gerald Van Decker
5 talking first. Sorry, I already it unmuted
6 before I heard that. I've got a really dumb
7 question. The time value TDVs here, is that all
8 for performance path?

9 MS. BROOK: It's also how we determine
10 the cost effectiveness of the measures for the
11 prescriptive path, so it's both. It's the energy
12 valuation metric we use in the life cycle cost
13 methodology and that's applied to both.
14 Basically that's applied to the prescriptive
15 standard, which is what we set and publish in the
16 Building Code. And then the performance
17 compliance approach is just what Danny explained,
18 it's a compliance approach. It's not a separate
19 standard and so we are using that same TDV metric
20 for that.

21 MR. VAN DECKER: Okay and the
22 prescriptive path Martha, I'll talk to you
23 offline about it. Gary Klein is aware of a
24 different methodology for doing that that we've
25 developed in Ontario. It's a score card. It's

1 kind of a simplified way of doing it that you
2 might want to consider, so I'll just leave that
3 where it is, but thank you very much everyone.

4 MS. BROOK: Uh-huh, thank you.

5 Anybody else, okay?

6 MR. LUTZ: I have a question that you'll
7 not want to hear, but what would be the process
8 of going back to a first principle's model like
9 you do on HVAC envelopes? What would it take to
10 get Title 24 converted to that? I mean, I agree
11 right now we don't have the models that can
12 handle that and they'd obviously have to be very
13 simplified, but procedurally within Title 24 how
14 would we go from this kludging of fudge factor
15 upon fudge factor upon fudge factor?

16 MS. BROOK: What are fudge factors?

17 MR. LUTZ: Okay, coefficients upon
18 coefficients upon coefficients.

19 MS. BROOK: There you go, yeah.

20 MR. LUTZ: How would we go from that to
21 a major rework that actually is based on a model?

22 MS. BROOK: So, first off I would say
23 that the Energy Commission does not have the
24 resources to develop that detailed model, so the
25 very first thing is that there would have to be

1 sponsors either through research emerging
2 technologies or Codes and Standards. You know,
3 anybody who it's in their best interests to make
4 that happen could be sponsors. And then there
5 would have to be, you know, the the other, I
6 guess, requirement that we've just recently
7 enacted is that we are only willing to support
8 open source software, so it could not be a
9 proprietary model. We think that's what it means
10 to provide public domain software, which is what
11 the mandate is for the Energy Commission.

12 And then I think it's just the due
13 diligence of any good software project. You
14 know, you have to develop it and test it and
15 before that you have to develop the functional
16 requirements for it. I think hooking it in to
17 our compliance software architecture is actually
18 pretty simple. I don't think there's a big lift
19 there. I think the lift is actually developing
20 the model. I think hooking it in to our
21 architecture would be relatively easy.

22 MR. STONE: I'd like to add something if
23 I could. We actually looked at that when we did
24 PIER project for -- excuse me, the case work for
25 hot water for the 2005, maybe it's the '08

1 standards. And one of the biggest constraining
2 factors is you can't include anything that the
3 building inspectors can't or won't inspect.

4 And so when you're talking about first
5 principles you get down to it, you know, you
6 really should know how many feet of three-quarter
7 inch you have and how many feet of half-inch you
8 have and how many feet of one-inch you have and
9 all these other things that we just, you know,
10 there's no way that you're going to get a
11 building inspector up there with a tape measure
12 to measure things. That's just one example, but
13 there's a lot of others. So it's got to be
14 simple enough that it's enforceable.

15 MR. ZHANG: Yeah, I think I want to
16 concur with Nehemiah and just say actually Owen
17 wants to talk with the same thing. From a code
18 compliance point of view what are we consider is
19 what can be inspected. So we've talked about
20 that compact designs and I remember there was a
21 lot of push-backs from an inspector point of
22 view. "You know, we've never done this thing, how
23 are we going to make sure that what is...?" for
24 example.

25 You know, speaking in terms of volume

1 you have to give people a very simple straighter
2 way to find what the volume is that they can
3 accept and take it to the field, can verify it.
4 So I think there's a tradeoff. What we can go
5 in detail, what can we implement.

6 But giving that side also when I do
7 comments, for example, we didn't talk too much
8 about the recirculation loop heat loss, which is
9 a term somewhere in that long equation. That
10 we'll still have to base on a kind of engineering
11 a first principle analysis system and added by
12 the field model. So if you read it into it and
13 the ACM detail it is actually slightly basic heat
14 transfer fundamentals. It's kind of like first
15 principle model, so it does exist.

16 MR. VAN DECKER: I'm Gerald Van Decker
17 here again, sorry. I would encourage you to
18 consider the equation that Gary and I have
19 submitted for the energy factor, because all
20 these models from the very base assume the energy
21 factor. We're talking about single homes here in
22 this case. You're starting with the energy
23 factor and that energy factor is not an accurate
24 representation in any given situation. It's
25 going to vary over the year. So I think that you

1 could really simplify a lot of this stuff, but
2 could also get more accurate results and
3 eliminates a lot of the bias there if you look at
4 that equation that I developed. And it's really
5 available, thank you.

6 MS. BROOK: Okay if there's nothing else
7 then I think we're ready for some guidance from
8 the group on how we're going to break out into
9 working groups and how long we should take and
10 what we should do there.

11 MR. TAM: Oh, actually one second,
12 sorry, there's a question from Frank Stanonik.

13 MS. BROOK: Oh okay, hi Frank.

14 MR. STANONIK: Hi, good afternoon, can
15 you hear me?

16 MS. BROOK: Uh-huh.

17 MR. STANONIK: Okay, well it's not so
18 much a question. I've been I guess waiting, but
19 just a comment, because of what we've dealt with
20 in the past. But in one of the presentations
21 there earlier they were talking about information
22 from I think it was 18 homes. And it seemed to
23 me that it was, well my perspective was it was
24 too easily presented. As well, you know, it's
25 good data I agree, but it was too easily

1 presented as here's some definite information as
2 to what we need to be doing as we go forward
3 here. And I guess I just want to put that
4 caution out there that data points from 18 homes,
5 it wasn't even a full year of use as I understand
6 it. It is useful, but we shouldn't put all that
7 much faith in it to make strong conclusions as to
8 how we need to amend the standards or whatever.

9 I mean, we had a long debate on some of
10 the things that the Energy Commission came up
11 with relative to tankless water heaters and how
12 much data they had and that's water down the
13 drain so to speak. It's done, but I'm really
14 conscious of okay so we have some good
15 information, but we need to be careful about
16 conclusions that this really tells us what these
17 products are doing in the field, you know? From
18 18 data points and I don't remember the slides,
19 but I think there's -- not I think, I know, there
20 are millions of residential water heaters
21 installed in California. And so there just needs
22 to be a little perspective there that okay, we
23 have some good data, but let's not assume we have
24 the answers.

25 MS. BROOK: Yeah, no I think that's a

1 good point, Frank. But I guess to be completely
2 honest with you beggars can't be choosers and
3 standards development is definitely beggars in
4 terms of good information that we need to, you
5 know, modify the California Building Code.

6 MR. STANONIK: Yeah, I'd say you have an
7 assignment to do. Yes, I understand.

8 MS. BROOK: So I think, and to be
9 completely honest with you, this is what will
10 happen if we go all the way through our
11 rulemaking and we're basing all of this stuff on
12 18 homes. And then you, this is just completely
13 hypothetical, but you come to the Commissioners
14 and you say, "Look, it was only 18 homes, what
15 the heck, you can't base a standard on that."
16 And the Commissioners are going to ask you,
17 "Well, give us those three million or something
18 then."

19 I mean, basically, this is the best
20 information that we have and so we really are
21 always asking stakeholders to do whatever you can
22 to bring us more and better data, because we are
23 starved for the data. And we've made decisions
24 on far less information than 18 homes, for good
25 or for bad that's the reality of the standards

1 development. And so I think that that is a
2 challenge and we don't want to do the wrong
3 thing. I mean, these are consumers that have to
4 pay energy bills and we are responsible for that.

5 And we need to be cautious, but we also
6 are trying to be thinking of the consumers'
7 viewpoint when they're getting products sold to
8 them too. And we want to be conservative in our
9 estimates of the performance of those systems
10 and, you know, we need data to give us judgment
11 in that area.

12 So I mean, I think that it's also true
13 that that kind of field data collection is very
14 expensive. And it takes a research program like
15 PIER to actually get 18 sample points. And you
16 and your members I think are in a position to
17 help us out, because you have, you reach so many
18 different markets and customers. And, you know,
19 we'd love to work with you on figuring out ways
20 to get more data in to our rulemaking process.

21 MR. STANONIK: Well, okay. I mean, just
22 I wanted to put that out there. I know I hear
23 you say you got it, I understand your assignment
24 is to get the new standards in. And I think
25 trying to look at the systems approach will

1 certainly open up opportunities and can be some
2 ways to save some energy.

3 MS. BROOK: Yeah, thanks. And the other
4 thing too is I think that water heating is a
5 really good example where we don't have to
6 necessarily only have California samples, right.
7 We can leverage data from other places, so if you
8 and others know of such data then we would love
9 to bring it in to the discussion.

10 MR. KLEIN: Just speaking of which, one
11 of the folks here Jim, spent some time looking at
12 national numbers for hot water usage patterns.
13 And if I remember correctly it's like 150 some-
14 odd homes and over 22,000 days of use data. And
15 that would be better than 18.

16 MS. BROOK: Absolutely, I mean we would
17 love to change our underlying assumptions about
18 usage based on that great data and we should talk
19 about how to get that done.

20 MR. TAM: Okay, Martha another question
21 from George Nesbitt. Okay, George go ahead.

22 MR. NESBITT: Yes, can you hear me?

23 MS. BROOK: Yeah, hi George.

24 MR. NESBITT: Yeah, George Nesbitt, HERS
25 rater. A couple of things, keeping the

1 calculation simple is a very good idea. The new
2 residential compliance in Engine is probably
3 about a thousand times slower than MicroPas
4 currently. But obviously working on making those
5 modification factors more realistic or better,
6 more accurate is a good thing.

7 Then I just I want to hit on the
8 prescriptive water heater you can put in a gas, a
9 natural gas or a propane water heater. Your only
10 option is an electric water heater with a 50
11 percent solar fraction. There is no option, say,
12 for a heat pump and it looks like, you know, heat
13 pumps are just about the same as the gas. And so
14 that would be something we should do, have more
15 prescriptive options for other than just standard
16 gas.

17 MS. BROOK: Oh, I see. Okay.

18 MR. NESBITT: Yeah, and that addresses
19 the question for Palo Alto.

20 Then what I'm trying to figure out, and
21 I've been looking at the standards as we've been
22 talking, the issue of not being able to preempt
23 the national standards, efficiency standards.
24 Yet with multi-family we are using a condensing
25 boiler and a solar fraction. I'm trying to

1 figure out if that is a prescriptive requirement
2 also? I don't see it listed so much as a
3 prescriptive requirement or if we're just doing
4 that in the ACM. And I guess if we can make it a
5 prescriptive requirement, which is not quite the
6 same as mandatory, because you can always go to
7 performance and trade off, why we don't do that
8 with single-family water heaters or furnaces,
9 other equipment as a way around.

10 MS. BROOK: Well, I think that's a good
11 question. I don't know the answer and I don't
12 know if Yanda knows the answer about why we were
13 able to set that baseline to be condensing
14 boilers for multi-family. I don't know.

15 MR. ZHANG: This is Yanda. I think
16 George you might want to the check the ACM point.
17 We'd love to set it to be condensing, but I don't
18 think we did that.

19 MS. BROOK: Okay, so we don't think we
20 did set the baseline to be condensing, so maybe
21 you should point out to where you think we say
22 that and we can get that cleared up between us.

23 MR. NESBITT: Okay.

24 MS. BROOK: And don't tell me now,
25 because we haven't even gotten to our breakout

1 session. Just send me an email. That would be
2 better if you're willing to do that.

3 MR. NESBITT: Yeah, well I think it was
4 even in today's presentation. I mean, it didn't
5 say condensing, but high efficiency.

6 MS. BROOK: Okay.

7 MR. NESBITT: Yeah, so.

8 MR. OSANN: Are the commercial products
9 even federally covered?

10 MS. BROOK: Well some of them are. I
11 mean, we do follow whatever's in ASHRAE, adopted
12 in ASHRAE.

13 MR. LUTZ: Yeah, we follow ASHRAE 90.1.

14 MS. BROOK: Yeah.

15 MR. STONE: Yeah, it doesn't matter
16 whether they are or not, because if George is
17 right, that it requires condensing basically the
18 minimum efficiency condensing unit would do it.
19 And so you're not asking somebody to put in
20 something higher than the minimum efficiency.

21 MS. BROOK: Well, see it's only -- this
22 is really getting into the weeds, but it depends
23 on how DOE publishes their standard and how
24 ASHRAE publishes their standard. If it's in the
25 same group then it's the minimum within that

1 group. If they've pulled out condensing as a
2 separate product then the answer's different.

3 So for example, right now in residential
4 our baseline has to be electric resistance,
5 because there isn't a separate standard, there
6 isn't a separate product category or a standard
7 for heat pump water heater. So we can't. You
8 know, it's not a separate standard set by the
9 feds and so we have to use that electric
10 resistance baseline. At least that's our
11 understanding of it.

12 Okay, so any other questions?

13 MR. TAM: No, hang on a second. Let's
14 see, SDG&E has an RFP out that includes water
15 heater recycling technology of how would a device
16 labeled electric resistance water heater
17 recycling be treated as an entry in the model.
18 Right, so in our model it currently, our model
19 doesn't recognize that.

20 MR. LUTZ: How would you model an off-
21 peak electric resistance water heater?

22 MS. BROOK: Yeah, so maybe this is an
23 area where you're trying to do something in the
24 Be On Code Program for a utility incentive
25 program? In which case there would need to be a

1 different sort of calculation outside of the
2 compliance software for that off-peak component,
3 because we don't address that component of the
4 equipment in our compliance software. But that's
5 true of many, many technologies. There's lot of
6 technologies we don't give credit for under the
7 compliance software, which are valid and good for
8 incentive programs. They just can't be modeled
9 with the constraints that are embedded in the
10 compliance software.

11 Shall we move on? So Jim, or Gary I
12 don't see, do you want to explain how we're going
13 to do this breakout session?

14 MR. LUTZ: Yes, we want to have three
15 parallel breakout sessions: one on commercial
16 buildings, I'm looking at you Amin; one on multi-
17 family and Yanda I'm looking at you to lead that
18 one; and one on single-family, focus on Marc
19 there. And we'd like to go each of these
20 breakouts will run in parallel and go to
21 different parts of the room, so commercial there,
22 single-family here, multi-family down there.

23 MS. BROOK: We might have to spread out
24 more just because of noise.

25 MR. LUTZ: Yeah, but spread out.

1 MR. STONE: Is this room going to be
2 open? I didn't see anything in there earlier.

3 MR. LUTZ: And take one of the big
4 pieces of paper, take notes. We've got four
5 types of questions we want each group to go
6 through. One is identify the issues and keeping
7 the issues fuzzy. I'm sure that each group will
8 have issues that they want to discuss. We have
9 how long on time-wise?

10 MS. BROOK: I think like no more than an
11 hour.

12 MR. LUTZ: No more than an hour, so 15
13 minutes on each of these. Identify the issues,
14 sort through which issues are the top ones, the
15 most important ones to deal with. Start some
16 discussion on solutions to those issues on how
17 this is, you know, how hot water is treated in
18 Title 24. And then how to get those solutions in
19 to Title 24, what is it going to take, and how is
20 it going to be done. So that's the general idea
21 and I guess, go so multi-family, single-family
22 and commercial.

23 (Off the record breakout sessions at 3:09 p.m.)

24 (On the record at 4:22 p.m.)

25 MR. DELAGAH: So how are we doing this,

1 are we just going down one two, three, four? Is
2 this like a discussion or am I just kind of --

3 MS. BROOK: Yeah, just do a summary of
4 what your group talked about and then we can ask
5 you questions. Does that sound good?

6 MR. DELAGAH: Okay, yeah.

7 MS. BROOK: And there's M&Ms there
8 afterwards for your little reward.

9 MR. KLEIN: Don't speak directly in to
10 the mic by the way.

11 MR. DELAGAH: Don't need to, I won't
12 okay. Can everybody hear me?

13 MALE VOICE: We hear you now.

14 MR. DELAGAH: Please help me out if
15 you're in the corner over here and I'm missing
16 something big, please shout it out.

17 MS. BROOK: It's -- the little light is
18 on.

19 MALE VOICE: You just have to hold it
20 real high to your mouth

21 MR. DELAGAH: It's on, I got it yeah.

22 So we talked about how the commercial
23 sector, especially if you go to like ACEEE Hot
24 Water Forum or you go to any of these places, you
25 know, when they talk about the residential sector

1 of multi-family or commercial every time the
2 takeaway is there's lots of opportunities in the
3 commercial sector. It's a great payback, it's a
4 much better win-win, lots of winging through, but
5 we just haven't done the research either in the
6 different applications or the specific products.
7 So I think for us we really need to focus more on
8 commercial.

9 You know, there's definitely it's a way
10 to get new technologies in the market that don't
11 have yet a payback in quick service or I mean,
12 sorry, in residential applications. So from our
13 focus is more research, especially in the
14 different applications. We might have an idea on
15 restaurants, but we really don't have an idea in
16 office buildings or hotels or schools and all
17 these different applications then. Focusing our
18 research to characterize systems in the field and
19 their operating efficiencies is really the first
20 step. And we've kind of been talking about it
21 for awhile, but how do we gain some ground?

22 For example, ASHRAE the handbook, a lot
23 of the information in there is 30 to 50-years
24 old. We really haven't invested in commercial
25 facilities in quite some time and we have an

1 opportunity here to really gain some ground
2 quickly. And the overall kind of thing that we
3 looked at was well if we do some of that
4 characterization, kind of the model that we've
5 used with this current PIER project is to
6 characterize a facility in the field, get a
7 profile from that, and apply that profile in the
8 laboratory with different water heaters and
9 distribution systems. And then we can really see
10 the potential savings of each scenario.

11 And then when we can do that we can
12 assign in a sense of we can figure out a system
13 delivery efficiency, kind of the stuff Jim is
14 doing in the residential part. Like how
15 efficient is this system at the point of use at
16 every fixture? Aggregate all that and from there
17 we kind of could see that well, in supermarkets a
18 centralized water heater, you know, at 20 percent
19 efficiency is not going to cut it. We need to
20 have a minimum system delivery efficiency for
21 each application in the commercial sector.

22 And we feel that that could be a good
23 approach for CEC. I don't think we can do
24 anything for right now for the next, 2016 is
25 that? But really, we need to set everything in

1 motion to kind of get there at some point, so
2 broadly that's kind of what we talked about.

3 MS. BROOK: Well, one of the things
4 that's frustrating to me from a standards
5 perspective is that this road map really needs to
6 get back to the PIER and the ET programs right,
7 because we don't have control over their budgets
8 or their funding. But we really rely on their
9 results like we have in the past. So how do we
10 get them to do things strategically instead of
11 just doing, you know, this demo of a dishwasher
12 heat recovery system and this demo of a tankless
13 water heater? How do we get them to do more of
14 the type of research that you're describing?

15 MR. DELAGAH: Other aspects of that was
16 you could have for these different applications
17 you could have a minimum, either a prescriptive
18 path or a just a minimum thing, like you cannot
19 put in one centralized water heater in a
20 supermarket. You shouldn't be able to do that.
21 There could be set of criteria of minimum
22 requirements that could also be using say, this
23 calculator for those different applications to
24 figure out how you could come up with that
25 minimum system delivery efficiency. So like it

1 could be -- so we can design that, we can develop
2 that, but we do need a lot of field research and
3 to supplement that with the laboratory research
4 to kind of create those calculators.

5 MS. BROOK: Okay.

6 MR. DELAGAH: We talked about issues.
7 You know, some of the issues that we have is
8 there's food safety guidelines for sizing water
9 heaters, there's plumbing code issues. There's
10 all these issues that kind of cloud the picture
11 and we definitely have to work with these
12 different societies. Building departments, they
13 don't want to really do more compliance. They
14 don't want to be looking at these systems. And
15 so those are all major issues in the commercial
16 sector.

17 Let's see, what else we looked at here.
18 Yeah, I think that really covers it. Any -- yes,
19 okay thanks Larry.

20 You know, I actually had not noticed
21 that for 2013 insulation is required on all hot
22 water piping, which is great. I see I was
23 referring to 2008, so that is a new thing. I
24 think we covered that, but for in terms of other
25 things we can put in to the upcoming Title 24 we

1 don't really have information. We don't have one
2 thing that works for all these different
3 commercial applications.

4 I think we really need to take the time
5 and trust this process to get there. I think the
6 current PIER project that we're doing, that we
7 have done, really kind of shows a road map;
8 potentially on a way to get there. We can't
9 think of one measure that we can put in there
10 right now that's just ready to go for the next
11 and that's, you know, will make the process easy.

12 MR. MCHUGH: I thought you were saying
13 earlier that the dishwasher --

14 MR. KLEIN: You have to come to a
15 microphone or I won't be able to record your
16 thoughts.

17 MR. MCHUGH: Hi, this is Jon McHugh,
18 hope it's not too loud? So Amir, I thought that
19 the dishwasher heat recovery was something that
20 was ready for prime time. Are you saying there's
21 something about that technology that has safety
22 issues or feasibility issues or payback issues or
23 application issues, what is it?

24 MR. DELAGAH: Well, I mean it's a very
25 specific application. You have different sizes

1 of dishwashers from under-counter to a door type
2 to a conveyer to a slide conveyer. And
3 especially when you start getting to these larger
4 dishwashers there are plumbing codes and things
5 of that nature that you have to follow, there's
6 ventilation issues.

7 The Health Department, in certain
8 jurisdictions in California which goes by the
9 Uniform Mechanical Code, they follow Uniform
10 Mechanical Code, they require exhaust ventilation
11 systems in all dishwashers. And it's really up
12 to the local jurisdictions if they want to follow
13 that. Well the big benefit of these ventless
14 machines, at least the door types, is they are
15 ventless. You pay an extra \$3,000 up front, but
16 you don't have to install this ventilation
17 system.

18 So but if we're getting pushback from
19 these certain localities, they're still requiring
20 you put in these ventilation systems, that's an
21 extra \$3,000 that a restaurant has to put in.
22 And at the same time they might be able to gain
23 \$500 dollar savings. Their electrical booster
24 heater usage is going to go up somewhat and then
25 they're going to get the same as with the water

1 heater. It's not quite there yet. We first have
2 to get the buy-in from the Health Departments to
3 just all across California allow these systems to
4 go in, because we have proved in a laboratory
5 that they do not emit any more heat load versus a
6 low temperature machine.

7 So it's really, I think from my
8 standpoint, we've got to have our ducks in a row
9 to really implement something that's really going
10 to stick.

11 MR. MCHUGH: So is that something though
12 that could be done over the course of, you know,
13 six months to two years? Is that, I mean --

14 MR. DELAGAH: We've had the conversation
15 with the health departments and the buildings
16 department, that's really where it stands.
17 They're very elusive. The buildings department
18 spoke to me when I went to my first IAPMO
19 meeting, which is just the buildings departments.
20 And we're hoping to have the next regional IAPMO
21 meeting at our facility if we could. But to get
22 that group to agree on something like that, I'm
23 not sure how many years it's going to take.

24 MR. MCHUGH: I hate to draw this out,
25 because I know we've got limited time, but this

1 is one of the measures that we saw had some
2 promise. My understanding is, is that the
3 savings wouldn't be as great as they possibly
4 could be if we followed what the other 49 states
5 had. But that even in California with the
6 requirements for ventilation instead of having
7 something like a two-year simple payback we'd
8 have a six or seven-year payback, but that's
9 still something that's within sort of the twelve-
10 year payback that California uses as part of
11 their energy standards. I'm just trying to
12 understand why this technology is not ready for
13 prime time.

14 MR. DELAGAH: Let me get back to, I
15 guess my overall systems perspective of it all,
16 which is really might affect it. The whole idea
17 of this technology say with the door-type machine
18 is the fact that you can size down your hot water
19 system. From a recirc system that covers your
20 whole facility to one that maybe covers just
21 parts of your kitchen that's just a normal trunk,
22 branch and twig system, no recirculation pump.

23 To get there we have to prove that this
24 way of designing a facility is one, feasible, is
25 one that's cost effective. And we have to

1 quantify the savings to really get everybody on
2 board. Once we can show that this optimized
3 strategy and being that the cold water in the
4 dishwasher you can have heat recovery without a
5 cold -- like only certain machines have a cold
6 water supply only. So there's a lot of things
7 that we have to figure out to get to the point
8 where we can really optimize our entire hot water
9 system.

10 MR. MCHUGH: Oh, I thought you were pre-
11 heating the hot water that's going in to your
12 water heater. This is just going in to the
13 dishwasher. It's not just being used for the hot
14 water system. Oh, okay, interesting.

15 MR. DELAGAH: So there's a lot of those
16 aspects. I mean, I think it's promising, but
17 we're just not ready for code language.

18 MR. MCHUGH: Yeah, okay.

19 MR. DELAGAH: I'm definitely for the
20 technology I just think we have a ways to go.

21 MR. MCHUGH: Right, interesting. Okay,
22 thanks.

23 MR. DELAGAH: I think I used up my time.
24 Who's up next?

25 MR. HOESCHELE: I'm the least annoying

1 person left.

2 MALE VOICE: What did he say?

3 MR. DELAGAH: He said he's the least
4 annoying, so therefore he can go last.

5 MALE VOICE: Are you going to take that,
6 Marc?

7 MR. HOESCHELE: Yeah, okay fine.

8 MS. BROOK: We need you to leave your
9 notes here, because we're going to volunteer
10 somebody to type them up and get them back to
11 everybody.

12 MR. DELAGAH: Okay, I'll leave them
13 right here.

14 MS. BROOK: Okay, thank you very much.

15 MR. HOESCHELE: For the single family do
16 we going to go through the full brainstorming or
17 however? How much time do we have?

18 MALE VOICE: I think (inaudible)

19 MS. BROOK: Yeah, I think you're good.

20 MR. HOESCHELE: So not 30 seconds or
21 less. So these are the issues we identified and
22 we started with low, medium and high, but then
23 went for three votes as far as what the priority
24 measures are. And also early on we decided to
25 tie enforcement issues, contractor training,

1 higher minimum requirements for contractors as
2 far as installation, you know, demonstrated
3 abilities. Define current practice better is a
4 big problem in knowing exactly what we have out
5 there in terms of hot water loads and even hot
6 water distribution systems. We've looked at 150
7 over the past 6 years, it's so diverse what we
8 find out there; that's a problem.

9 MS. BROOK: Uh-huh, you sound like
10 Frank.

11 MR. HOESCHELE: And then the best
12 practice guidelines needed. So we kind of tied
13 all those four together as one, but then we
14 started getting votes individually. So the
15 plumbing design, building design, requiring
16 plumbing design is a high priority. And you
17 know, there's interrelated with best practice
18 approaches. It seems like maybe this is an
19 iterative process. You know, things are so, in
20 terms of plumbing design, so disorganized now
21 maybe we need a first step. And then as things
22 tighten up a little bit you get a better read on
23 where this can go. I mean, but it's too diffused
24 right now.

25 MS. BROOK: So the first thing is they

1 tell you where the water heater is, that's their
2 plumbing design. That's the baby step, is that
3 what you --

4 MR. HOESCHELE: Right. Right, I mean I
5 know when we tried to, with this go round, tried
6 to put more, you know, limit the big pipe and
7 there's a lot of pushback from the building
8 industry on that. And they just said in this
9 industry the contractors aren't ready to do this.
10 So I think we agreed that it's important to
11 define best practices as we know them now even
12 though they might not be perfect and get that
13 information out there.

14 So other, oh valuing of water and the
15 whole resource stream. I know this has been a
16 topic that the Commission has been aware of for
17 awhile, but I think it would be beneficial and
18 would help support initiatives that reduce water
19 waste in the distribution system, to get more
20 credit for the embodied energy and water or the
21 sewer impacts. Now what's involved in all that,
22 I don't know if the Commission has made any
23 initial efforts to look at that. You know, how
24 to quantify those.

25 MS. BROOK: Well, we haven't done

1 anything yet, but it's been on our list. But
2 it's been on our list.

3 MR. HOESCHELE: When you say it's been
4 on our list, you --

5 MS. BROOK: Well, the thing that I
6 imagine is that there's something like TDV for
7 water. That we basically say that there's this
8 societal cost of water use just like well right
9 now we're saying there's societal cost of energy
10 use and that's the metric that we use as
11 determining whether or not we should do anything
12 about water efficiency in the standards. We have
13 the mandate, it's in our legislation that we
14 should do it, that we have the authority to
15 govern water efficiency in the building code. We
16 just haven't had the band width to deal with it
17 yet. Hearing from you guys that it's super
18 important is a good thing.

19 MR. KLEIN: To give a rough sense of
20 scale for this group the indoor water use,
21 meaning water supply and waste water treatment,
22 the energy of that is on the order of five
23 kilowatt hours per thousand gallons. That's a
24 national number. California has got numbers that
25 are on average like that with a variation from

1 about three to about twenty-five.

2 MR. STONE: Site or source?

3 MR. KLEIN: This is the site energy.

4 Yes, this is the --

5 MR. STONE: So it doesn't include the
6 pumping energy to get that there?

7 MR. KLEIN: No that is the pumping and
8 treating energy of delivering and treating water
9 on both sides, okay. It's the kilowatt hours
10 attached to the embedded energy in the water, if
11 you will. It doesn't include the source energy
12 of the electric grid to make all that or the
13 water that goes in the electric grid. It's just
14 the energy attached to the water embedded, so
15 five kilowatt hours per a thousand gallons is
16 about right. When we, if you convert, we're
17 talking about hot water in this room. Hot water
18 is around 50 times more energy intensive than
19 that.

20 MS. BROOK: But I think it's --

21 MR. KLEIN: We can count it.

22 MS. BROOK: No, but all I'm saying is
23 that we don't have to limit ourselves to the
24 energy component of water.

25 MR. KLEIN: Correct, okay.

1 MS. BROOK: We have the mandate to
2 govern water efficiency and valuing water for
3 water's sake not for energy's sake. So one could
4 assert we should both: count the embedded energy
5 and also count the value of water for the state
6 of California. That's why the mandate was given
7 to us, it was for water efficiency purposes, not
8 because somebody realized that there's some
9 embedded energy in water. It was because we have
10 water issues in the state and buildings consume
11 water, so we should would have water efficiency
12 in our building code.

13 But having said that valuing water like
14 we now value energy, it's not a trivial exercise,
15 it's a pretty big deal. And it will take, in my
16 opinion, a concerted effort that -- Jon can
17 confirm this, because we've begun to scope out
18 the 2016 standards. And Owen's here too, or at
19 least he was, it's not on the table right now.
20 So having had this workshop and I mean if the
21 stakeholders here and other places think it's
22 super-super important now is the time to say it
23 is, because otherwise it's not going to. You
24 know, the Commission always has limited resources
25 and we always have to pick what we're going to

1 work on. And right now even though it's a
2 mandate it hasn't risen to the top of the list.

3 MR. MCHUGH: Hi, this is Jon McHugh
4 again. My understanding is that for Title 24
5 we're not looking at water issues, but I think
6 for CALGreen we are. And to the extent that you
7 guys are involved in CALGreen recommendations?

8 MS. BROOK: Yeah, there's certainly
9 things in CALGreen for water efficiency, but they
10 haven't done any kind of societal valuation of
11 water to determine those recommendations.
12 They're just gut calls about water efficiency.

13 MR. MCHUGH: Right, oh and so your
14 question was, is whether or not TDV should
15 explicitly value water?

16 MS. BROOK: Yeah.

17 MR. MCHUGH: Yeah, and that makes sense
18 to look it by the various climate sense, because
19 of the whole north-south difference in energy.
20 Thanks.

21 MR. STONE: Not only that, but elevation
22 and height of the building.

23 MS. BROOK: Yeah, and to be honest with
24 you one of the issues that we have with
25 resourcing it is with the California utilities,

1 because right now the California investor in
2 utilities -- well LADWP and SMUD are joining in
3 too now, are really supporting our codes work.
4 But they're supporting it from an energy
5 efficiency point of view and that's where their
6 mandate is. And if they can't extend that into
7 water efficiency then our resources will be we
8 need to find those resources from other places.

9 MR. DELAGAH: Does that put the focus on
10 Title 20 (sic) in terms of reducing hot water use
11 through appliances?

12 MS. BROOK: No, hot water is we can do
13 it, hot water is not the issue. I mean, hot
14 water we deal with, we deal within the standards,
15 and we'll always deal with hot water in the
16 standards.

17 MR. DELAGAH: Well, does it put
18 additional priority on reducing hot water use
19 since it carries both the energy and the water
20 aspect? And say as a heater where you're only
21 saving energy you want to save hot water, is that
22 a higher priority than saving just or having a
23 more efficient system? That's just saving
24 energy. Should we really be looking first at
25 saving hot water?

1 MS. BROOK: Well, in my opinion a lot of
2 the things that you guys want to fix in the
3 distribution system have water efficiency
4 benefits that we're not counting. And if we want
5 to start counting it then we need your help
6 developing a methodology to start counting it.
7 And I don't see that that methodology is going to
8 be funded by investor-owned utilities that are
9 paying for our support with energy rate payer
10 dollars, because we don't have that same source
11 of public funding from water rate payers, right?

12 MR. KLEIN: I think that we might be
13 able to, if the PUC has allowed it, get the
14 energy utilities to help fund tracking the water
15 so we can track the energy implications of the
16 water savings or the water use. They're not
17 going to be as interested in hot water, because
18 of the relative value. On the other hand there's
19 a lot users of water and so there may be a way of
20 discussing that.

21 But it seems to me at a minimum we
22 should be, if we're able to as we're moving
23 through our work over the next several years,
24 track the water as carefully as we estimate and
25 track the energy for things like hot water. If

1 that's all we're working on, we just do it for
2 the ones we're working on and we figure out how
3 to track those numbers as we're doings things.
4 And that would help in not this cycle, but the
5 next cycle being more ready as to, "Hey, we
6 figured out how to do this, what do you think?"
7 and moving on to the next step.

8 The valuation of water for its own sake
9 promises to be a frightful job. When were you
10 planning to retire Martha? Say it before we
11 start on that one.

12 MS. BROOK: Uh-huh, anyway I didn't want
13 to interrupt your --

14 MR. LUTZ: Well, just on the hot water.
15 From the little bit of end use data that I'd seen
16 every shower starts out with, if you look at the
17 shower head use, starts off with a couple gallons
18 of water leaving the water heater, but not going
19 out of the shower head. That's people doing the
20 tub spout to flush the cold water out of the line
21 before they start their shower. So showers where
22 the plumbing system is laid out poorly every
23 shower wastes a gallon or two. So, you know, you
24 could count that in as part of the cost of a
25 poorly designed hot water distribution system is

1 a gallon or two of hot water for every shower.

2 MR. OSANN: Yeah, the modeling done by
3 NREL suggests that it's about ten percent of
4 shower hot water use is purged in a typical
5 three-bedroom home, three-bedroom, two bath home.

6 MR. KLEIN: I guess Jim has found it
7 could be as high as 30 percent, so it varies. It
8 depends on the silliness of the plumbing layouts.

9 MR. HOESCHELE: So, on the -- I don't
10 know how much more time I have Jim?

11 MS. BROOK: About negative two, really.

12 MR. HOESCHELE: On the solutions front,
13 let's see here. The first one is kind of the
14 stick approach that the state licensing board or
15 the CEC, you know, there's some authority to
16 punish the contractors for doing work that isn't
17 -- you know, noncompliant. I mean, the general
18 enforcement problems that we have and how we can
19 change that and one is certainly the stick
20 approach.

21 Another issue or solution on the carrot
22 side was to give Utilities the opportunity to
23 provide more training to contractors. And I
24 don't the details of that exactly, but, you know,
25 to provide more incentive for them to provide

1 outreach training and so forth. Working with
2 Utilities, I mean there's a lot of data we can
3 mine theoretically from their rebate programs
4 they're running on these new technologies. You
5 know, how are their customers responding to them,
6 what are the issues, what are the maintenance
7 requirements to fill in the piece of are we
8 promoting technologies that make sense for the
9 long term?

10 Reevaluate how plumbing design is
11 handled in Title 24. I mean, basically just
12 reflecting the current recognition of how
13 alternative designs are valued and credited or
14 penalized in the system. You know, can we be
15 more precise or more fine-tuning to, and I guess
16 this might get it, during my presentation to talk
17 about some way to create a greater value for an
18 overall compact house solution that benefits the
19 distribution system, both HVAC and hot water and
20 so forth.

21 Let's see, a water resource valuation
22 study, I mean, we kind of talked about that.

23 Homeowner, a how to use guidance,
24 basically to make sure that homeowners have a
25 better idea how their systems in their home

1 operate and what to expect and indications of
2 when there are problems. We feel that that's
3 lacking.

4 And well one thing, Title 24, a top down
5 review of the systems design approach versus kind
6 of a usual measure look at things. And, you
7 know, one thing as we move to ZNE and we're
8 looking at all the -- I mean issue I have is as
9 we focus on all these detail issues with the big
10 picture and miscellaneous energy loads and where
11 PV starts to fit in. I mean that there's a kind
12 of a consistent outlook on where as we focus on
13 our minutiae areas that we're kind of
14 consistently handling these issues and making
15 sure the solutions are cost effective. As
16 opposed to just technology specific solutions
17 that make sense, but in the context of the whole
18 building may not be the best approach.

19 MS. BROOK: So help me out a little bit
20 with that one there. Are you saying that when we
21 develop our prescriptive standards they should be
22 more holistic and less focused on individual
23 measure level things? Or are you saying that
24 we're losing the forest through the trees?

25 MR. HOESCHELE: Well, I think a little

1 bit of the latter, maybe. I mean, Larry brought
2 up the system design and the synergies that maybe
3 we're overlooking at times when we do measure X,
4 Y and Z and then we have some other consequence,
5 some other benefit, that we're not recognizing or
6 Larry?

7 MR. WEINGARTEN: I just wanted to add,
8 one of the guidelines that you have is that
9 everything be cost effective, looking at
10 individual measures one at a time. And it may be
11 that it makes sense more to look at all the
12 package of measures, because one at a time they
13 may not meet that criteria.

14 MS. BROOK: Well actually our
15 requirement is that we look at it as a whole, but
16 for better or for worse we've given ourselves the
17 assignment of trying to make sure that every
18 measure is cost effective. And so your point is
19 well taken that maybe that is not appropriate.

20 But just for background the reason that
21 we have done that is because it makes it, it's
22 like due diligence, it makes it a harder bar to
23 pass, right? But the other thing that it does
24 for us on a practical basis is that it keeps the
25 perpetual motion machines from getting proposed

1 to us, right. Because basically we're putting
2 ourselves under the situation of proving that
3 everything that we want to do is cost effective,
4 therefore everything that somebody else proposes
5 has to be cost effective in its purest form.

6 MR. WEINGARTEN: So how do you deal with
7 the, spend more money to air seal the shell of a
8 house? By doing so you may reduce your cooling
9 load so you don't need a cooling system at all.
10 It makes the air sealing very cost effective, yet
11 air sealing on its own may not seem to be.

12 MS. BROOK: So I mean think that we do
13 model and therefore look at the budget at a
14 holistic level, but we also -- and I think there
15 is room for us to back away from this measure
16 level cost effectiveness requirement, because it
17 isn't a requirement. It's just been a practice.
18 And we do need to understand those interactive
19 effects and actually get to a point where we can
20 do things that as a system that are cost
21 effective. That at maybe onesie, twosie, they
22 aren't. But I'm not -- is that what you meant
23 too?

24 MR. WEINGARTEN: Yeah, I think so.

25 MS. BROOK: Okay.

1 MR. HOESCHELE: You know, as well as
2 making sure that we are --

3 MR. STONE: The mic's falling away
4 again.

5 MR. HOESCHELE: That's because I'm
6 thinking.

7 MR. STONE: Well, while you're thinking
8 I want to say something really quick. In
9 addition to what you said Martha, about looking
10 at things individually and maybe that's not the
11 thing? The Commission made a decision a long
12 time ago to go beyond the mandate of its cost
13 effective to actually saying it's the most cost
14 effective. In other words, if you draw the J
15 curve of first cost versus life cycle savings
16 anything below the line of what the current
17 technology or current standards require, anything
18 below that line is cost effective. And the
19 Commission typically goes to the lowest point,
20 the most politically acceptable, you know,
21 because it's the most cost effective.

22 Whereas you could keep pushing to lower,
23 lower life cycle costs without getting above that
24 line and still be cost effective. And for
25 approaching zero net energy it seems to me that

1 it's maybe time to move away from the bottom of
2 the curve and start moving closer to the Y axis.

3 MR. ACKER: If I could add something to
4 what Marc was saying earlier. I'm thinking what
5 Nehemiah just said too. The builder primarily
6 builds homes to meet code standards, which is
7 basically if you look at it from an A to an F
8 it's on a D level or C level. And every time I
9 talk a builder I say, "You build a home to code?"
10 "Oh yeah, I build it by code." I said, "Is this
11 is just acceptable to your son or daughter going
12 to school and coming home with a D grade?" "Oh,
13 no." "Well, then why are you doing it?" The
14 point being well taken.

15 One of the things we've brought up
16 today was that it's all interrelated whether it
17 be energy, water. And I think Gary pointed out
18 something that was very important, that is hot
19 water has got a lot more energy involved to it
20 than just cold water. But the energy cycle where
21 the water comes into a home involves sewage
22 agent, CO₂, carbon and everything else. But if
23 you could also distribute water in a way that you
24 can create the water heater to be more efficient,
25 because it's actually heating less water then

1 you're creating another energy savings or
2 bringing less water that may be a lot colder from
3 the outside, which again can create more energy
4 efficiency.

5 So it's a package that we were talking
6 about today, not just energy, water, sewage and
7 CO2, but also the fact that you can effectively
8 create a more energy efficient water heater
9 that's already energy efficient. You're just
10 creating it so it doesn't have to work as hard.

11 MS. BROOK: I see, okay.

12 MR. ACKER: That's what I'm talking
13 about. I remember meeting with John Glendall,
14 the chairman of the State Industry, one of the
15 largest water heater manufacturers in the world
16 at one time. And he had developed, he had spent
17 \$5 million to develop a tube that goes down under
18 water, with the tank water heater. And he had it
19 curled at the end with a bunch of holes on it and
20 I said, "John, what's that for?" And he said,
21 "That's a five million dollar error." And I said
22 "What do you mean?" He said, "Well, I designed
23 that with the concept to getting enough flow
24 coming in to my water heater to keep the tank
25 water heater, or gas water heater primarily, from

1 settling and building sediment at the bottom.
2 Because that's where most water heaters are
3 destroyed for gas water heaters."

4 And I said, "Well that sounds like a
5 great idea." And he said, "It doesn't work."
6 And I said, "Why?" And he said, "Because with
7 all the low flow fixtures now I can't get enough
8 GPM in to the tank to make it work effectively."

9 And he said, "You already knew that." And
10 I said, "I did?" He said, "Yeah, because what
11 you've developed does that automatically with any
12 water heater."

13 It's the idea of getting a higher flow
14 into the tank to keep that from settling at the
15 bottom, from building up, so we potentially
16 increase the water heat life by 20 to 25 percent.
17 But again, it's just not saving water energy it's
18 a packaging or controlling a lot of different
19 things that go on with the house. And I think
20 that's what I was referring to.

21 MS. BROOK: Okay, so it sounds like we
22 need to do a better job trying to quantify all
23 those things that are sort of on the fringes now
24 that aren't getting counted in our kind of
25 systems analysis that we do.

1 MR. HOESCHELE: I think that's true.

2 MS. BROOK: Okay, any other questions
3 for Marc?

4 MR. HOESCHELE: It doesn't look like it.

5 MS. BROOK: Okay, thank you.

6 MR. ZHANG: Well, I'll just go through
7 this relatively quick, we have negative time
8 left. All the group talked about what we can do
9 in multi-family buildings. I think it turns out
10 to be less a technology discussion, more a
11 philosophical discussion.

12 So we start, the issue was there is a
13 lot of things we don't know or don't know enough,
14 which is true. We don't know, I will start with
15 for example, energy use patterns, hot water loss
16 patterns and mechanisms. And towards the end
17 here's a long list of items, for example, how do
18 you consider system. And it get sub-coded by all
19 those issues: anti-scalding mixing valves, solar
20 system, pipe diameter and storage volume and all
21 that. The question is we don't completely
22 understand how each fact is precisely affects
23 system performance and therefore leads to R and D
24 requirements. And to resolve that you need a
25 better modeling. Tools, that's all I think, and

1 it sounds very logic.

2 But we then also talk about maybe we can
3 also look at the problem from maybe another
4 angle, because one thing is if we emphasize
5 unknown long after a potential conclusion is it
6 also is limiting our capability to find possible
7 solutions. So the question is without knowing
8 all those details, mechanisms, factors, how they
9 work in the system, is it possible we can still
10 do our possible solution to make this go on
11 forward? So then as a school of thought within
12 the group basically saying that maybe we could,
13 based on what we do know now, to come up with
14 possible alternative solutions based on first
15 principles, based on engineering analysis.

16 And we talked about for example, you
17 know, look at Marc's study on 18 buildings. It
18 gives you a picture of only 18, and early on
19 people comment it's only 18. But it does show
20 you how different types of water heaters, the
21 efficiency varies with your hot water draws. So
22 there is some information there. And we also
23 have previous studies look at how pipe loss is
24 going to be depends on recirculation or just a
25 branch on pipe diameter, miscellaneous.

1 You know, in my previous PIER research
2 we looked at the recirculation in multi-families.
3 And Marc has been long doing everything to
4 improve his hot water SIM models, right? They're
5 dealing with, in fact comprehensive plumbing
6 designs. It's recirculation plus or all
7 different kind of trunk or branch designs. So
8 they're not necessarily perfect, but I think
9 again the point is that from another angle maybe
10 we should begin to consider alternative solutions
11 and then consider how those different factors can
12 vary the performance of those alternative
13 solutions.

14 So all the diagrams we come up with here
15 it used to be very clear but there was --

16 MALE VOICE: We all scribbled on it.

17 MR. ZHANG: So after a few people
18 drawing on it, obviously it's hard to recognize,
19 but there's still some pattern there. So we're
20 saying this is kind of like a efficiency scale.
21 If we look at what we are doing with current
22 Title 24 maybe on average it's going to here.
23 But obviously it varies. It varies depends on
24 the precise draw patterns, exact locations of
25 your fixtures relative to hot water heaters,

1 relative to recirculation loops. It also depends
2 on, for example, senior housing versus student
3 housing and other market rate buildings.

4 And so what we can see is that you're
5 going to have your actual efficiency in the field
6 vary around this average. So this is where we
7 have a lot of unknowns. Now, if we only pay
8 attention to the unknowns we can maybe refine our
9 understanding, but towards the end we can improve
10 our efficiency potentially from here, maybe to
11 the upper range of this range.

12 But if we again do thinking alternative
13 designs, even though especially those maybe not
14 even there those commonly used in the market then
15 maybe we can see possible solutions of bringing
16 efficiency at those levels. The potential is
17 higher in uncertainties. Again we have a lot of
18 unknowns, but it allows us to kind of jump our
19 consideration of potential efficiency requirement
20 from one step to a next level. So if we can
21 follow that approach then maybe we can emphasize
22 how uncertainty in the new system is going to be,
23 so it allows us to move ahead quicker.

24 So to conclude that and there was, for
25 example, leads to Gary's suggestion we need to do

1 lab tests of first principle designs, first
2 principle considerations. So maybe one approach
3 you can consider as a first step is maybe based
4 on what do we know today? Whatever the field
5 data with the engineering and knowledge we have
6 let's consider different design options, symptom
7 options, as we proposed to you all in this room
8 in the past. And then it's based on all first
9 principles. And then that allows us potentially
10 to kind of rank them to see what we are talking
11 about different technology, what their efficiency
12 is going to be, what their uncertainty is.

13 Kind of like it's mapping out them. Is
14 it here versus here, how much? Maybe draw a
15 circle around different technologies. Kind of a
16 like a bubble chart so you can see oh, maybe this
17 is a weak envisioning and the map is going to be.
18 So that allows maybe the group just to come
19 decide and then next basically going back,
20 dealing with unknowns R and Ds. Maybe we'll say,
21 "Hey, this is what we know so far, but we see big
22 potential with this bubble maybe we can spend
23 more efforts on that."

24 So I think that kind of conclude our
25 discussion, no specific suggestion what are we

1 going do, right next step.

2 MR. STONE: One other piece you left off
3 there was that we think it's probably time to
4 start looking at the difference between senior
5 housing, student housing and all other, because
6 there are definitely different usage patterns.
7 So it may be time to make that segregation.

8 MR. ACKER: I have a question to ask in
9 regard to that. It's come up in the past that
10 what do you consider multi-family? You have a
11 lot of different buildings out there now that do
12 the same thing as multi-family, but they're not
13 considered multi-family. For example, vacation
14 things like the Hyatt has and timeshare type
15 programs in buildings. I mean, there's huge
16 amounts of these. What category do they fit
17 into, do they fit in to multi-family? Not
18 really, they're not commercial, because they're
19 really owned by homeowners. So I think that was
20 a problem that we ran in to a couple of years ago
21 when we were running some tests on that basis as
22 well. It would be good to define that area as
23 well.

24 And the other thing is on talking about
25 your plumbing, and I don't know if that happens

1 on multi-family, but sometimes you get a plumber
2 that plugs and he builds different loops off one
3 pump. In other words he loops it, it comes back
4 down. That's always been a problem, because if
5 you don't run a pump 24/7 you can't fill all the
6 loops. Well, we've actually solved that. We can
7 monitor three different lines now with one pump.
8 So that's we were talking about new technologies
9 earlier, but Nehemiah brought up that there is
10 new technology, it's already available.

11 But we're trying to meet technology as a
12 way of not only they built buildings in the past,
13 but also the way we think they should be building
14 buildings in the future. And one of the things
15 that we featured and we try to do is if the
16 building is really poorly designed like Carl was
17 saying it earlier today, and that is that they're
18 building bigger houses with poorly worse plumbing
19 designs. The worse the plumbing the better we
20 can make it work, the more savings we get. The
21 better the way the house is done, the better the
22 structure is of any home or building, the less
23 energy you're going to save, because you're
24 already saving it the way you're designing the
25 building.

1 So there's different ways of looking at
2 this. And that's the approach that I'm trying to
3 bring up. We've got to define, first of all in
4 multi-family what is considered multi-family?
5 And I don't know. And I think there was another
6 issue where I think even San Diego Gas and
7 Electric was having a problem with, "Well, I
8 don't know. It's not in our category. It's no
9 longer multi-family, it's commercial."

10 MS. BROOK: Oh, oh my goodness.

11 MR. ACKER: You know, and you've got two
12 different categories within the utility who were
13 debating what it was. So it's hard for us as
14 manufacturers, I don't know if it's any other
15 manufacturers here, but if it's hard for us
16 manufacturers to buy products to make if we don't
17 know what the building, you know, what category
18 it fits in to.

19 MS. BROOK: Okay.

20 MR. ZHANG: Within the code dealing with
21 multi-family hot water systems what we do have is
22 to ask, kind of propose a building design to
23 specify are you using one water heater to serving
24 multiple dwelling units? So versus are you using
25 one water heater for each dwelling units? So

1 it's kind of like designing-wise how each of the
2 system design works instead of are you multi-
3 family or single family unit. Obviously a single
4 family unit does not have the issue, it's only
5 multi-family. You could have different system
6 design.

7 I think that the extent of what you're
8 talking about it maybe also makes sense to have
9 better definitions of different hot water system
10 designs.

11 MR. ACKER: Well, there's thousands and
12 thousands of "vacation" like Hiltons and Hyatts
13 that are huge, huge groups. Their golf courses
14 and everything else, they're timeshares
15 basically. And they're anywhere from six
16 buildings to twelve buildings to twenty-four
17 buildings, but their circulating systems operate
18 just like a multi-family. That's how they
19 operate.

20 MS. BROOK: Yeah, Jon?

21 MR. MCHUGH: Hi, so many conversations
22 have been more global and not specific to
23 particular measures. And I thought of one thing.
24 You know, we've got all this brain power here and
25 people thinking a lot about water efficiency.

1 And we've developed a list in conjunction with
2 the Energy Commission on potential measures for
3 the 2016 standards. And in advance of the actual
4 kickoff for that work I've been collecting
5 information, just trying to lay the path.

6 And one of those things had to do with a
7 water efficiency measure that seems to apply to a
8 lot of, not to every building category, but to
9 many residential and non-residential building
10 categories. And that is the issue that we heard
11 kind of earlier with the fairly extensive
12 comments of Mr. Van Decker. And that's the
13 vertical film drain heat recovery or some of form
14 of drain heat recovery.

15 And so I'd like to ask this assembly of
16 water experts, am I missing something? It seems
17 like I wasn't even that aware of it, you know,
18 not that long ago and it seems a fairly robust
19 technology. It seems to make sense from
20 efficiency point of view. And so is there
21 something that I'm missing that I'm actually not
22 seeing a broader use of it up to this point?

23 MR. DELAGAH: One thing is in Canada
24 they have basements and they have a lot colder
25 water. It works for Colorado, but we don't have

1 basements as much here and we don't have that
2 really cold water to get that heat exchanger
3 effectiveness. So our payback for drain water
4 heat recovery for residential is not very good.

5 MR. MCHUGH: When you say not very good,
6 what do you mean, like how many years?

7 MR. DELAGAH: They actually, I think the
8 Canadians have a website where you can put in all
9 that information to figure out your --

10 MR. MCHUGH: For the specifics of your
11 climate, so they get a model there?

12 MR. DELAGAH: Yes.

13 MR. MCHUGH: Excellent, okay.

14 MR. DELAGAH: We don't have that model
15 yet, but you can calculate it.

16 MS. BROOK: Well yeah, Gerald gave us
17 that equation, right. I mean, I'll give it to
18 you Jon.

19 MR. MCHUGH: Okay.

20 MR. DELAGAH: But ultimately we still
21 don't have basements. You know, it's something
22 that we would really have to figure out how we're
23 going to incorporate.

24 MR. MCHUGH: Right, but you know, the
25 last time Bob Raymer was talking to us I believe

1 he said something like two-thirds of single
2 family homes are two stories, so you don't have
3 to do it in every house, but two-thirds would be
4 okay with me.

5 MS. BROOK: Yeah, and we actually heard
6 just recently that they might be moving to more
7 like rural houses, because the new sprinkler
8 requirements mean that you don't need to have the
9 offset between buildings anymore. And since
10 builders want to maximize their lot space they're
11 going to be slapping those buildings right up
12 against each other and going up. So it could be
13 even --

14 MR. STONE: That sounds like multi-
15 family to me.

16 MR. KLEIN: It sounds a lot like that,
17 yeah.

18 MR. MCHUGH: Or whatever, but low-rise
19 multi-family. So the question is, is there
20 something? I mean, for instance is the Delta-T
21 being somewhat smaller than in Canada, does that
22 extend it out past that? You know, for the
23 residential standards we look at a fairly long
24 time period, because of the 30-year period of
25 analysis and the 3 percent discount rate.

1 MR. DELAGAH: I think it's still cost
2 effective. It's definitely worth looking at and
3 doing the calcs for it.

4 MS. BROOK: Okay.

5 MR. DELAGAH: And looking at the
6 building stock that's going to be built and since
7 we're looking at new facilities or new
8 residential houses, especially since we're going
9 up, it would make more sense than with a single
10 story.

11 MR. MCHUGH: And hotel-motel any sort
12 of?

13 MR. KLEIN: I think you need to spend
14 more time talking with Gerald Van Decker.
15 They've done enough construction for different
16 applications that he can be helpful in your
17 thinking. They've put together units that gather
18 six drains into one heat exchanger or six shorter
19 heat exchangers in one bigger system. So they
20 figured out ways to do some aggregation of
21 multiple stacks and how you handle multi-story
22 applications, where you gather four of them
23 together for every individual unit. And so there
24 are some things that are being done to look at
25 that, so you basically buy one drain water heat

1 recovery device and split it among four sources
2 and so your cost effectiveness goes up.

3 The single family, the single unit case
4 or the single family case, the dilemma you face
5 is that if you have two showers you now have two
6 sources. And since we're not smart enough to put
7 them back to back or right on top of each other
8 you can't easily share the same drain line and
9 therefore you have to either just get to pick one
10 or the other. And if you pick the wrong one
11 you're not going to get anything out of it.

12 MR. STONE: Another consideration
13 besides just the cost of putting the drain heat
14 recovery in, is the required changes to the rest
15 of your design. They won't fit in a two-by-four
16 wall. It doesn't fit easily in a two-by-six
17 wall, but it can. And a lot of times the showers
18 are not against the exterior wall, so they're not
19 going to be two by six. So you have to account
20 for the extra cost of that construction to allow
21 it.

22 MR. SPLITT: I just want to mention that
23 in our group before I brought up the fact that in
24 Santa Cruz they actually require plumbing design
25 for new residential buildings, so I end up doing

1 that a lot. And it's almost 100 percent always
2 after the architect is completely done with the
3 plan. And they never think about it. Well, I
4 wouldn't say that categorically that architects
5 never think about mechanical or plumbing systems,
6 but --

7 MR. KLEIN: You have evidence?

8 MR. SPLITT: I can't remember one
9 offhand one that really does, well maybe one or
10 two. So anyway the problem is that you get a
11 plan and basically all we'll end up doing is
12 sizing the pipes, because the bathrooms are
13 already spread all over the place and it's too
14 late to do anything. And you can't go to the
15 client and tell them that you think the architect
16 didn't design the building well or you would
17 never get a job from them again.

18 But like for this drain system it's
19 almost guaranteed that that shower on the second
20 floor, that drain is right over the middle of the
21 living room below. So the problem is you --

22 MR. STONE: Copper pipe is pretty
23 attractive.

24 MR. SPLITT: Yeah, so the problem is if
25 we're thinking about plumbing systems we really

1 have to think about upfront how to get the entire
2 design integrated, so that this stuff actually
3 works.

4 MS. BROOK: Right. Yeah, okay.

5 MR. KLEIN: To Nehemiah's point one of
6 the folks in Canada, I think it's in Canada,
7 actually took their drain water heat recovery
8 stack. And instead of hiding it behind the wall
9 in the corner that it came it, they exposed the
10 corner and they had them polish it up really
11 pretty and put a light on it, so it's a feature.
12 The bathroom's upstairs so then people will go,
13 "Well what's that?" And they go, "Flush that"
14 and they figure out how to make it work. It's
15 pretty funny.

16 MR. WEINGARTEN: One other thing, if I
17 may, they actually have even despite what Gerald
18 says there's another manufacturer that has
19 created a horizontal heat exchanger. So they're
20 --

21 MS. BROOK: Oh, okay. And it's not half
22 as efficient like you said, maybe it's a little -
23 -

24 MR. WEINGARTEN: I talked to the
25 inventor and he claims it's better than that.

1 MS. BROOK: Oh, okay.

2 MR. WEINGARTEN: So we have choices.

3 MR. DELAGAH: We've tested the
4 horizontal heat exchanger for food service
5 applications and it does work. I'm sure it works
6 for residential applications, we just have to do
7 more field. You have to have funding to put this
8 stuff in the field and give it a go and I think
9 that's where we are in California. We haven't
10 really invested in the technology.

11 MS. BROOK: Okay, so I have a process
12 issue. I have run and catch a bus in five
13 minutes and I want you guys to keep going as long
14 as you want to or need to. And Danny, I don't
15 care about his bus schedule, so.

16 MR. TAM: No, I rode a bike.

17 MS. BROOK: Yeah, he rode a bike so he
18 can stay as long as you want. But I really do
19 appreciate you guys coming. It's always a
20 pleasure to talk with the water heating guys. I
21 miss you guys, I used to be in research with you
22 and it was really fun and I appreciate having the
23 chance to talk with you again.

24 And I think we've promised to summarize
25 the notes and to get them posted on the docket

1 page that Danny has put up for the water heating
2 stuff. And we're really serious though. I mean,
3 we've said it before, but we really do want to do
4 something good with water heating in the 2016
5 standards. So I hope you guys will help us.

6 MR. LUTZ: Are you going to come to the
7 Hot Water Forum?

8 MR. KLEIN: It's not in California,
9 let's start with the obvious.

10 MS. BROOK: Oh no, but thank you for
11 asking.

12 MR. KLEIN: So I think we've all had a
13 pretty long day and I would recommend that we
14 probably call it one.

15 I would observe that I heard a couple of
16 themes that ran through each of the discussions.
17 One of the ones that struck me was the discussion
18 of plumbing design being needed in all of the
19 three categories we were describing. All right,
20 that was one of the things and what a surprise,
21 of course I pay attention to that one, that's my
22 specialty area.

23 The other one that came up is the
24 interactive effects question. If you have this,
25 this and this do they work well together or do

1 they not work well together? That kind of thing
2 came up in all cases.

3 I think we also heard that while we know
4 some things we don't know others. And we do have
5 to scope out how to learn more quickly about this
6 in order to make progress as we move forward.

7 MR. LUTZ: There's one other sort of
8 overarching one and that's that the Energy
9 Commission is not the only player. There's other
10 people writing codes and standards and doing
11 programs and incentives and they don't seem to be
12 all that well coordinated yet.

13 MR. KLEIN: Well, they're not. And I
14 know that there's work going on in IAPMO's base
15 uniform plumbing code as well as in their green
16 technical code. I know Ed and I work on both of
17 them and so I know that that's there. And I know
18 that if those go through it will impact what the
19 Energy Commission is able to do, because it will
20 become base plumbing code. So things are
21 happening whether there's energy consequence, or
22 not or well understood or not. It's going on all
23 around us that we have to pay much more attention
24 to.

25 MR. STONE: Just before Martha left I

1 asked her if she would appreciate getting copies
2 of anybody else's electronic notes, so to help
3 the summary she's putting together. And she said
4 yes, so anybody that took notes electronically
5 please feel free to send them to Danny or Martha
6 or Owen. Just send them all to Owen.

7 MR. KLEIN: Are we done? We're done.

8 MR. STONE: We're done.

9 MR. KLEIN: A toast, thank you all very
10 much it's been great having you all here today.

11 MR. STONE: Thank you guys for doing
12 this, this was great.

13 MR. KLEIN: Danny, thank you.

14 MR. TAM: Oh, you're welcome. Thanks.

15 (Adjourned at 5:23 p.m.)

16 --o0o--

17

18

19

20

21

22

23

24

25