

## DOCKETED

<b>Docket Number:</b>	15-AAER-02
<b>Project Title:</b>	Pool Pumps and Spa Labeling
<b>TN #:</b>	210629
<b>Document Title:</b>	Transcript of 02/18/16 Staff Workshop on Pool Pump Motors and Portable Electric Spas Standards
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	3/7/2016 10:58:45 AM
<b>Docketed Date:</b>	3/7/2016

CALIFORNIA ENERGY COMMISSION  
APPLIANCES AND EXISTING BUILDINGS OFFICE

In the Matter of: )  
 ) Docket 15-AAER-02  
Appliance Efficiency )  
Pre-Rulemaking for Pool Pump )  
Motors and Portable Electric )  
Spas )  
\_\_\_\_\_ )

STAFF WORKSHOP ON  
POOL PUMP MOTORS AND PORTABLE ELECTRIC SPAS STANDARDS

CALIFORNIA ENERGY COMMISSION  
1516 Ninth Street  
Art Rosenfeld Hearing Room  
Sacramento, California

THURSDAY, FEBRUARY 18, 2016  
10:00 A.M.

Reported by  
Peter Petty

## APPEARANCES

CEC STAFF

Kristen Driskell

Sean Steffensen

Ben Fischel

STAKEHOLDER PRESENTERS

Bach Tsan, Southern California Edison CA IOUs

Chad Worth, Energy Solutions

Gary Fernstrom, PG&E

Matthew Vartola, Bestway

Jennifer Hatfield, APSP

Mike McCague, International Hot Tub Association

E. Jess Tudor, Coverplay

PUBLIC COMMENT

Jeff Farlow, Pentair Aquatic Systems

Bob Nichols, Precision Pool Service

Shajee Siddiqui, Zodiac Pool Systems

Meg Waltner, Natural Resources Defense Council (NRDC)

Scott Petty, Hayward Pool Products

Paul Lin, Regal Beloit

Ray Mirzaei, Waterway Plastics

I N D E X

	<u>Page</u>
<b>Opening Remarks</b>	
Kristen Driskell	4
<b>Staff's Pool Pump and Motor Presentation</b>	
Sean Steffensen	8
<b>Stakeholder Pool Pump and Motor Presentations</b>	
California Investor Owned Utilities	22
Bach Tsan	
Energy Solutions on behalf of CA IOUs	23
Chad Worth	
Association of Pool and Spa Professionals	29
Matthew Vartola	
<b>Open Discussion and Public Comment</b>	<b>32</b>
<b>Staff's Portable Electric Spa Presentation</b>	<b>62</b>
Ben Fischel	
<b>Stakeholder Portable Electric Spa Presentations</b>	
Energy Solutions on behalf of CA IOUs	74
Chad Worth	
Association of Pool and Spa Professionals (APSP)	80
Mike McCague	
Coverplay	90
E. Jess Tudor	
<b>Open Discussion and Public Comment</b>	<b>98</b>
<b>Conclusion</b>	<b>104</b>
Kristen Driskell	
<b>Adjournment</b>	<b>105</b>
<b>Reporters Certification</b>	<b>106</b>
<b>Transcriber's Certification</b>	<b>107</b>

P R O C E E D I N G S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

FEBRUARY 18, 2016 10:00 A.M.

MS. DRISKELL: Good morning, everyone.

Welcome to today's workshop on pool pump motor and portable electric spa draft efficiency standards.

I'm going to pull up my slides here.

My name's Kristen Driskell. I am the supervisor of the Applicant Efficiency Program at the California Energy Commission. I'm going to go over a few housekeeping items for those in the room before kicking off the substance of the workshop.

First, if you haven't been here before and you need to use a restroom, it's outside the door to the left.

If there's an emergency, please follow staff out those doors to the park across the street.

If you need a snack or coffee, there's a snack shop upstairs to the right on the left-hand side of the building.

WiFi access is available. The password, I think, it just outside this room and you can use that to access our WiFi system.

And on WebEx, everyone on WebEx right now, you are currently muted. You'll be muted on entry. If you'd like to speak during the public comment period

1 you can use the raise hand feature or indicate a wish  
2 to speak in the comment box. If you're only tuning in  
3 online, I might not be able to unmute you but I will  
4 try. But I will then unmute you and call on you to  
5 speak.

6 [Start Slide Presentation]

7 Here's our workshop agenda. It's also posted  
8 on our website and on hard copy outside this room.

9 After my introduction, Sean Steffensen will  
10 present staff's proposal on pool pump motor  
11 efficiency standards, followed by stakeholder  
12 presentations and then open discussion and public  
13 comment on the topic.

14 We'll take a short break, then Ben Fischel  
15 will present staff's proposal for portable electric  
16 spa efficiency standards, followed by stakeholder  
17 presentations and public comment.

18 During the public comment period we'll start  
19 with comments in the room. You can fill out a blue  
20 card and hand it to either Sean or Ben, who are  
21 sitting right here. Or we'll just open it up for  
22 public comment after that and you can come up and use  
23 the podium to speak.

24 Make sure you give your name and provide a  
25 card to our court reporter so they can get your name

1 accurately in the record.

2                   After we take comments in the room we'll  
3 take comments on the WebEx. Again, you can use the  
4 raise hand feature on WebEx to indicate that you wish  
5 to speak or use the chat box to talk to me about  
6 whether you would like to comment.

7                                           [Next Slide]

8                   Going over the history of these proposed  
9 standards.

10                   We started working on these standards in  
11 2011 with a scoping workshop that helped inform our  
12 2012 Order Instituting Rulemaking, or OIR.

13                   Pool and spa efficiency standards were  
14 identified for Phase 1 work in the OIR.

15                   We began collecting data through an  
16 invitation to participate and subsequent invitation  
17 to submit proposals, and we workshopped both of those  
18 responses.

19                   After reviewing the data, we held a webinar  
20 requesting additional information on pool pump motor  
21 and portable electric spas. Based on that information  
22 and staff's additional research, staff has released  
23 its draft analysis for pool pump motors and portable  
24 electric spa standards, which is the subject of  
25 today's workshop.

1 [Next Slide]

2 This is an overview of our rulemaking  
3 process. We are where that giant green arrow is  
4 pointing at a staff workshop.

5 Once we receive feedback through this  
6 workshop, we will either revise the staff report and  
7 republish for a new staff workshop or we'll proceed  
8 into the formal rulemaking process, which is where  
9 that blue box is. It depends on the results of this  
10 workshop.

11 Either way, there is plenty of opportunity  
12 for public comment on the staff analysis and on the  
13 formal rulemaking as noted throughout this chart.

14 [Next Slide]

15 We'll be accepting oral comments at today's  
16 workshop and they'll be recorded for the record. You  
17 can also submit written comments on the staff  
18 analysis until February 29th at 5:00 o'clock p.m.

19 There are three ways to submit written  
20 comments. You should only use one of these ways, you  
21 don't need to use all three.

22 First, you can submit them electronically  
23 using our E comment feature on our website.

24 You may also send a hard copy to our Dockets  
25 Office indicating the docket number for the



1 rulemaking.

2 Or you can send a digital copy by email to  
3 our Docket Office, again including the docket number  
4 and name of the rulemaking proceeding in the subject  
5 line.

6 [End of presentation]

7 We will now have Sean Steffensen up to  
8 present on pool pump motor efficiency standards.

9 MR. STEFFENSEN: Hi, good morning. My name  
10 is Sean Steffensen. I'm a mechanical engineer here at  
11 the Efficiency Division. I've worked on a number of  
12 water-related initiatives, including the recent  
13 showerhead and lavatory faucet rulemakings.

14 Today I will present staff's proposal to  
15 update the pool pump motors, including motors sold  
16 with a pump and replacement motor standards.

17 (Begin presentation]

18 I would like to welcome everyone today, both  
19 in the room and online, and thank them for their  
20 participation. This is the agenda for my  
21 presentation.

22 I will summarize the findings of the draft  
23 staff report and end by suggesting for topics for  
24 discussion.

25 I will offer a little background here as to

1 why this topic is important and is being considered  
2 today.

3 [Next Slide]

4 Pool pump motors including motors sold with  
5 a pump and replacement motors use a significant  
6 amount of energy, as much as 2500 kilowatt hours per  
7 year per pool, according to the Residential Appliance  
8 Saturation Study.

9 The California Energy Commission did not  
10 regulate pool pumps and motors before 2004. Most pool  
11 pump and motor systems use single speed motors with  
12 some systems utilizing fairly inefficient electric  
13 motor constructions.

14 The good news is the industry is making a  
15 lot of good progress toward lower consumption pool  
16 pumps and motors, and even better, the improvements  
17 and progress are cost-effective. They have introduced  
18 a variety of pumps and motors and the energy  
19 efficiency improvements are very impressive.

20 The current standard for residential pool  
21 pumps and motors and replacement residential pool  
22 pump motors includes a prohibition on inefficient  
23 split phase or capacitor start induction run electric  
24 motors, and a requirement that all pumps and motors  
25 that have a total capacity of one horsepower or

1 greater provide at least two-speed operation and  
2 controllers.

3 [Next Slide]

4 Today we will discuss staff's proposal to  
5 update the standard.

6 As I present today, I will attempt to say  
7 pool pump motors including motors sold with a pump  
8 and replacement motors, but since this is a mouthful,  
9 I may from time to time say pool pumps to briefly  
10 mean pool pump motors including motors sold with a  
11 pump and replacement motors.

12 As Kristen noted in the introductory  
13 remarks, the Energy Commission has been studying the  
14 pool pump and motors topic for some time. I have  
15 summarized the proposed updates to the pool pump and  
16 motor standards. We have focused the effort to  
17 modernize the standards to take into account current  
18 market trends, technology advances, and to extend  
19 statewide energy savings.

20 I will speak to the details and rationale  
21 for the proposed regulations on subsequent slides.  
22 Much more detail is shown in the draft staff report  
23 at this link.

24 We hope to receive public comments today and  
25 in the upcoming weeks as part of the workshop

1 process.

2 [Next Slide]

3 So the scope. The scope will be expanded to  
4 cover all pool pump and motor combinations and  
5 replacement pool pumps under five total horsepower  
6 and five total horsepower.

7 Replacement pool pump motors are typically  
8 used as a low cost alternative to replace only a  
9 broken motor rather than the pump and motor. The  
10 regulation will cover appliances regardless of end  
11 use, including both residential and commercial  
12 applications regardless of the pump type, including  
13 filter, booster, and waterfall pumps, and regardless  
14 of the pool type, including above ground, in-ground,  
15 permanent, and storable pools.

16 The expanded scope will increase compliance  
17 and enforcement of the regulation by closing  
18 loopholes and lead to greater energy savings by  
19 applying the standard to additional pool types, or  
20 pump types.

21 [Next Slide]

22 I created this slide to indicate the  
23 proposed scope. The regulation will apply to all  
24 pumps and motors shown on the left.

25 The intent of the regulation is to cover all

1 pool pumps and replacement motors five total  
2 horsepower or less. Pumps shown on the left over one  
3 total horsepower and five total horsepower or less  
4 will need to be dual speed or variable speed after  
5 the effective date.

6           To be clear, the minimum two-speed  
7 requirement is proposed to include commercial pool  
8 pumps and motors of all types, booster pumps and  
9 waterfall pumps and motors that do not currently fall  
10 within the scope of the two-speed regulation.

11           The regulation will not apply to pumps shown  
12 on the right. These include pool pumps and motors  
13 over five total horsepower, portable electric spa  
14 pumps and motors whose energy consumption is covered  
15 as part of the portable electric spa appliance  
16 standard, and those covered under the recent U.S.  
17 Department of Energy commercial and industrial pump  
18 rulemaking.

19                                           [Next Slide]

20           Motor Efficiency. Staff proposes a new  
21 approach for motor efficiency by replacing the  
22 existing prescriptive motor type prohibition with a  
23 minimum motor efficiency requirement. Where in the  
24 past split phase and capacitor start induction run  
25 motors were prohibited, these motors and all other

1 motor types would be allowed if they meet a minimum  
2 performance level for electric motor efficiency.

3           The performance requirement is a measure of  
4 the motor efficiency by itself and measures how well  
5 the motor converts electricity into rotational  
6 energy. The minimum performance standard does not  
7 include the pump's hydraulic efficiency.

8           The proposed standard would be technology  
9 neutral for motor constructions; AC induction motors,  
10 electrically commutated motors, permanent split  
11 capacitor motors, and all other motor constructions  
12 will be permitted. This will allow for market  
13 innovation while improving the performance of all  
14 pool pump motors sold in California.

15                                                         [Next Slide]

16           Motor efficiency requirements are shown  
17 here. All pool pump motors five total horsepower or  
18 less will need to meet a uniform minimum efficiency  
19 at full speed regardless of motor design, type, or  
20 size.

21           No minimum efficiency standard is proposed  
22 for single speed pump motors over one total  
23 horsepower since single speed motors over one total  
24 horsepower are already prohibited by the current  
25 standard.

1 Pool pump motors that are dual speed, multi-  
2 speed, and variable speed will need to meet an  
3 additional minimum efficiency standard at half speed.

4 Tier 1 will take effect January 1st, 2018,  
5 at least one year from the anticipated adoption date.

6 Tier 2 will take effect January 1st, 2024,  
7 four years from the anticipated adoption date.

8 The effective date would apply to motors  
9 manufactured on or after the effective date.

10 The Energy Commission proposes a tiered  
11 approach to the minimum efficiency standard to allow  
12 time for the manufacturers to transition to compliant  
13 motors.

14 [Next Slide]

15 Staff proposes to update the test procedures  
16 for measuring both motor efficiency and pump and  
17 motor efficiency.

18 CSA 747-09 is an industry standard small  
19 motor test procedure to test for motor efficiency.  
20 The test method will replace the current IEEE 114-  
21 2001 test method.

22 The ANSI/HI 14.6-2011 is proposed to replace  
23 the current ANSI/HI 1.6-2000 test method to modernize  
24 the standard to current industry practice.

25 Motor manufacturers will report motor and

1 pump efficiency at uniform speeds to allow direct  
2 comparisons between models.

3 Pump efficiency will still be tested and  
4 reported as part of the pump and motor combination  
5 certification process. No minimum pump efficiency  
6 standard is proposed.

7 [Next Slide]

8 Staff believes the minimum motor efficiency  
9 standard is technologically feasible and can be  
10 achieved through existing motor design practices.

11 Efficiency improvements can be pursued  
12 through reducing conduction losses, friction losses,  
13 hysteresis, and eddy currents.

14 The staff report summarizes available  
15 approaches such as through the use of better  
16 bearings, careful material selection, controlling  
17 lamination thickness in an effort to reduce losses.

18 As illustrated on this chart, conduction  
19 losses can be reduced by adding more conductors to  
20 the rotors and stators or by relying on permanent  
21 magnets to eliminate conduction losses within the  
22 rotor.

23 [Next Slide]

24 Staff performed a survey of pool pump and  
25 motor combinations and replacement pool pump motors





1 feasibility. On the left shows the single speed  
2 standard. Staff believes the standard is  
3 technologically feasible as some pumps nearly meet  
4 the standard for single speed. As discussed on the  
5 previous slide, there are multiple technological and  
6 cost effective pathways to achieve the Tier 2  
7 standard.

8 Staff has found two single speed pumps  
9 exceed the Tier 2 standard in the APSP pump database.  
10 Those points are not shown on this graph.

11 In addition, market innovations point to  
12 increased efficiency such as the recent introduction  
13 of a less than one horsepower variable speed pool  
14 pump.

15 The graph on the right shows the dual speed  
16 and variable speed motors versus the Tier 2 standard.  
17 Many models currently meet the Tier 2 standard. The  
18 majority of compliant models are variable speed  
19 although some dual speed motors also qualify.

20 Staff reviewed motor size versus compliance  
21 for dual speed and variable speed motors and found  
22 some motors of all total capacities currently capable  
23 of meeting the Tier 2 standard. All size ranges were  
24 represented with currently compliant models.

25

[Next Slide]

1           Staff applied the standard savings  
2 methodology used on the previous rulemaking effort to  
3 calculate savings on a consumer and statewide level.  
4 Efficiency of current compliant products are held at  
5 the same level while noncompliant products are moved  
6 to exactly meet the minimum standard.

7           Staff assumed product stock, duty cycles,  
8 operational speeds, and product lifetimes based upon  
9 published research. Calculation details are shown in  
10 Appendix A of the draft staff report.

11                                                         [Next Slide]

12           Staff found the proposed standard is highly  
13 cost effective with payback periods well within the  
14 ten-year expected product lifetime. The cost of  
15 incremental efficiency gains were estimated by  
16 comparing market prices of pumps and motors with  
17 efficiency shown in the appliance database while  
18 controlling for motor size.

19           As an example, only various two horsepower  
20 motors were compared to other two horsepower motors  
21 to estimate the cost to consumers for an improved  
22 motor efficiency.

23           The most significant per unit savings are  
24 shown for commercial pool pumps due to their much  
25 higher 24/7 full speed duty cycles.

1           Staff found the proposed efficiency  
2 standards cost effective for all cases considered.

3                               [Next Slide]

4           Staff found substantial statewide energy  
5 savings for both Tier 1 and Tier 2 minimum motor  
6 efficiency levels. When fully implemented, the  
7 standard will save 1,178 gigawatt hours per year.  
8 That translates into millions of dollars of savings  
9 for California businesses and consumers. At full  
10 stock turnover there will be \$188 million of savings  
11 in electrical costs to Californians.

12                              [Next Slide]

13           Staff found substantial statewide  
14 environmental benefits from the proposed standards.  
15 The standards when fully implemented will reduce  
16 criteria air pollutants by 131 tons per year and  
17 reduce greenhouse gas emissions by 406,000 tons per  
18 year.

19           The proposal supports the wider long-term  
20 strategy for the state to reduce its carbon  
21 emissions, and it will support the target set by  
22 Senate Bill 350, the Clean Energy and Pollution  
23 Reduction Act of 2015, to double the efficiency from  
24 existing buildings through the appliance and building  
25 standards as well as the goals of the Warren Alquist

1 Act to reduce energy consumption through cost  
2 effective and technically feasible energy efficiency  
3 standards.

4 [Next Slide]

5 I have listed some items to facilitate  
6 discussion at the workshop. We would like comments  
7 regarding the interactions between the proposed and  
8 existing regulations on pool design, equipment, and  
9 operation, and I have listed a couple codes here.

10 We are interested in the alternative duty  
11 cycles and technological trends and innovations in  
12 the marketplace.

13 We seek comments on the manufacturing cycle  
14 and if a particular calendar date would be preferred  
15 by industry for the effective date.

16 We would also like comments on the impacts  
17 to the environment, small businesses, and  
18 manufacturers by the proposed regulations.

19 The list is a start and we would welcome  
20 comments on other topics relevant to the staff's  
21 proposal.

22 [Next Slide]

23 Staff has released the draft staff report.  
24 We are in a comment period right now. Comments may be  
25 submitted electronically at the link above or emailed

1 to the docket. Hard copies may also be sent to the  
2 Energy Commission at the address shown on the slide.

3 For those of you on the phone, this entire  
4 slide package has been docketed and is available in  
5 Docket 15-AAER-02.

6 Comments are due by 5:00 p.m. February 29th.  
7 Once we receive comments, we will analyze the issues,  
8 compare the comments to the proposed standard, and  
9 figure out the best path forward.

10 We look forward to your feedback and will  
11 work hard to incorporate it into our next draft of  
12 the standards.

13 [Next Slide]

14 Again, I'd like to thank you for your  
15 participation today. My contact information is shown  
16 here.

17 We will proceed into the formal  
18 presentations, followed by an opportunity to receive  
19 comments from the public.

20 I can take clarifying questions on this  
21 presentation now, but substantive comments and  
22 statements should be saved for public comments  
23 following the remaining formal presentations.

24 Thank you.

25 [End presentation]

1           So I guess up next will be Bach from the  
2 California Investor Owned Utilities.

3           MR. TSAN: Good morning. My name is Bach  
4 Tsan from the Southern California Edison, and I will  
5 be speaking on behalf of the Statewide Codes and  
6 Standards Program, which consists of Southern  
7 California Edison, Pacific Gas and Electric, San  
8 Diego Gas and Electric, and South California Gas.

9           Thank you for the opportunity to comment  
10 today. Thank you to the Energy Commission staff for  
11 your efforts regarding the pools and spas as well as  
12 other Phase 1 topics.

13           We commend the Energy Commission for their  
14 leadership and vision. We commend Sean for his  
15 professional review of the rulemaking.

16           The standards are one of the most cost  
17 effective methods for the state to meet its energy  
18 and climate policy goals. IOUs have been involved  
19 with the efficiency for over 15 years in developing  
20 and implementing various pool efficiency rebate  
21 programs across the state.

22           The proposed pool pump motor standards will  
23 save, as Sean mentioned, 1,170 gigawatt-hours per  
24 year, and that's what I was told is equivalent to all  
25 the homes in Sonoma County.

1           We are supportive of the CEC's proposal that  
2 will lead the nation in efficiency standards for  
3 pools and spas.

4           I would like to introduce our technical  
5 team. Chad Worth of Energy Solutions, and also our  
6 other technical lead, Gary Fernstrom, as they've been  
7 working with the pool industry for quite some time.  
8 And Chad will be working through this presentation  
9 for us.

10                                           [Begin Presentation]

11           MR. WORTH: Good morning. As Bach mentioned,  
12 my name is Chad Worth. I'm with Energy Solutions on  
13 behalf of the California IOUs. I've been working on  
14 supporting the pool pump motor effort for roughly the  
15 last three years and have had the pleasure of working  
16 with a number of you.

17           So some of this Sean went over and I might  
18 be able to go over quick, and Bach mentioned. But the  
19 IOUs have been involved with pool energy efficiency  
20 for quite some time, starting back in 2001 PG&E had  
21 the first voluntary program for time clocks and two-  
22 speed motors.

23           A few years later, the IOUs proposed a case  
24 study, which is Codes and Standards Enhancement, to  
25 the CEC for residential filtration pool pump motors.



1 And this led to the current prescriptive motor design  
2 requirement that bans split phase or capacitor start  
3 induction type motors.

4 In 2008 came the requirement that all  
5 residential filtration pool pump motors over one  
6 horsepower be two-speed, multi-speed, or variable  
7 speed.

8 And shortly after in 2010, Title 24  
9 requirements were put in place to ensure good  
10 efficient new pools were built throughout the state.

11 The IOUs were also involved in developing  
12 the Energy Factor Metric, which was then adopted by  
13 Energy Star in 2013, which I think has been  
14 definitely a benefit to this industry. So anything  
15 over 3.8 are currently in the Energy Star  
16 certification.

17 And then, as we know, this rulemaking really  
18 got going in 2013.

19 [Next Slide]

20 You kind of already went over this, but the  
21 current standards now, no split phase or cap start  
22 induction type motors on residential filtration  
23 motors. Anything over one horsepower has to be two  
24 speed, multi-speed, or variable speed. And also pump  
25 controls that are sold with those pumps need to be

1 able to operate the motor in that capacity, which is  
2 mainly for two-speed motors that weren't necessarily  
3 sold with the internal controllers that we're all so  
4 familiar with now.

5 [Next Slide]

6 So again, 2013 we submitted our original  
7 proposal.

8 In early 2014 the CEC held a workshop to  
9 seek input.

10 They issued a formal data request. We  
11 responded to that data request. And then shortly  
12 after we started engaging with the APSP-15 Committee  
13 and a number of folks in this room to work through  
14 some of the technical issues, mostly around the test  
15 procedure, test points, and also looking at some of  
16 the standards as well.

17 We docketed a revised data request response  
18 later that September, and then hosted a meeting at  
19 PG&E, again with a number of people in this room, in  
20 October where we talked through a number of issues.  
21 And then the next formal meeting is here today.

22 [Next Slide]

23 So, broadly the IOUs have reviewed the staff  
24 report and, while we have some suggestions which  
25 we'll get to, we support the big components of the

1 staff report. We believe the proposed standards are  
2 cost-effective, achievable within their timelines,  
3 and will lead to significant savings statewide.

4 And really, I think the proposal boils down  
5 to three main important changes.

6 First, significant clarification and  
7 simplification of the test procedure and reporting  
8 requirements.

9 Second, is making it clear that extending  
10 the motor design and motor efficiency standards to  
11 cover all single phase pool pump motors under five  
12 total horsepower.

13 Thirdly, to shift from a prescriptive to a  
14 performance standard.

15 [Next Slide]

16 Currently, we know the IEEE test procedure  
17 is not ideal for testing motors at multiple speeds.  
18 We worked with the APSP-15 group and manufacturers to  
19 identify the appropriate test procedure, which was  
20 the CSA C747-09, and we also came up with full speed,  
21 three-quarter, half, and quarter speed test points.

22 So this will help standardize how  
23 manufacturers are reporting their products into the  
24 database and also give a good picture of performance  
25 across the spectrum in which they may operate.

1 [Next Slide]

2 This, expanding the coverage to all pool  
3 pump motors, I think this is probably one of the most  
4 important pieces of this proposal as compliance with  
5 the current way the standard is written has been  
6 challenging.

7 So currently it only applies to residential  
8 filtration applications. Again, this has had  
9 significant challenges, confusion among installers,  
10 retailers, manufacturers. And I think by extending  
11 the motor efficiency standards to cover all pool pump  
12 motors under five total horsepower and expanding the  
13 two-speed, multi-speed, variable speed requirement to  
14 all pool pump motors between one and five horsepower,  
15 that should say, but making it clear that basically  
16 there should be no single speed products between one  
17 and five horsepower sold within the state.

18 So we think this will greatly improve  
19 compliance with the existing standard and expand the  
20 savings into new applications.

21 [Next Slide]

22 And then lastly, the shift to the  
23 performance standard will allow all motor types to  
24 compete. What we saw in the data is that there were  
25 cap start, induction run, all different types of

1 motor types. There wasn't a strong correlation  
 2 between motor types and efficiency necessarily, and  
 3 going to a performance standard will allow any motor  
 4 design to compete.

5 And we currently support the CEC proposal  
 6 that treats dual, multi, and variable speed motors  
 7 the same, as we don't believe there is significant  
 8 difference in utility to the customers.

9 Technology has evolved a lot in the last few  
 10 years. The cost of variable speed motors has come  
 11 down. And the size; variable speed and multi-speed  
 12 products are now offered in various sizes, which  
 13 makes them available in many applications.

14 And then finally, we support the proposed  
 15 Tier 1 and Tier 2 standards. We think the Tier 1  
 16 standards are sufficiently achievable by 2018, and by  
 17 2021 the Tier 2 standards would be achievable as  
 18 well. And again, the savings are significant.

19 [Next Slide]

20 So we're going to make a number of written  
 21 comments for improvement, but again, we support the  
 22 proposal and commend the CEC and the CEC staff for  
 23 their work on it. That was a very professional  
 24 report.

25 We want to clarify the compliance data with

1 the expansion of the two-speed, multi-speed, variable  
2 speed requirement.

3 We want to try to help revise the savings  
4 calculations with regard to small commercial pumps.

5 We want to make sure we're talking in terms  
6 of total horsepower motor capacity throughout the  
7 report.

8 And there's a number of other suggestions  
9 we'll make to help make things clear, but again,  
10 overall we're supportive.

11 So thank you.

12 [End Presentation]

13 MR. STEFFENSEN: Thank you, Chad.

14 Up next will be the APSP. I'm not sure if  
15 someone on the phone will introduce the next speaker  
16 or if Matthew was going to come up.

17 MR. VARTOLA: Good morning, everyone. My  
18 name is Matthew Vartola, and I am here on behalf of  
19 the portable pool pump industry, talking to you and  
20 giving you a little bit more insight and information  
21 about how the current CEC regulations are affecting  
22 our product category, and our recommendation on  
23 moving forward with modifications to the regulation.

24 [Begin Presentation]

25 So, storable pool pumps. In working with

1 other market leaders in evaluating the current  
2 footprint that we have on the California industry, it  
3 is estimated that in 2015 over 50,000 -- 51,000, to  
4 be exact -- portable pool pumps were sold in the  
5 California market.

6           When evaluating the current state of the CEC  
7 data with pool pump regulations, we have come to the  
8 determination that our product category hadn't really  
9 been considered and hadn't really been fully  
10 evaluated in order to form the regulation.

11           So in general, our pool pumps are going to  
12 be the single speed, less than one horsepower type of  
13 product, that are usually sold in two types;  
14 capacitor start, capacitor run, and permanent magnet  
15 synchronous motors, which the PMSM motors make up a  
16 vast majority of the sales in the state with, as we  
17 estimate, over 46,000.

18           So currently the situation with our product  
19 type is twofold.

20           Number one, the PMSM motors are not motors  
21 that are stated to be allowed to be sold within the  
22 California market due to the CEC regulation. However,  
23 with Sean's proposal earlier, I believe that we're  
24 going to be addressing this issue.

25           The second issue that we have come across is

1 that through talking with others in the industry and  
2 working on the efficiency factors, we have come to  
3 the determination that PMSM motors will not be able  
4 to hit the efficiency threshold that has currently  
5 been set for these single speed motors. And I'll  
6 explain to you what kind of effect that will have.

7 [Next Slide]

8 So when looking at the breakdown of pumps  
9 that are sold in the California market, as I said,  
10 the vast majority are the PMSM motor types. So  
11 therefore, if we are to upgrade our motor types in  
12 all of our pumps to capacitor motors, we are  
13 estimating that there's going to be about 160 percent  
14 increase in annual energy use for the pumps  
15 themselves in order to increase efficiency.

16 [Next Slide]

17 So getting to specifics of the numbers  
18 themselves. Based on the 2015 sales, we estimate that  
19 it's about 6 gigawatt hours of power that were  
20 consumed by pool pumps in the market.

21 So to replace the PMSM pumps with capacitor  
22 pumps, we would see an increase to about 15.6  
23 gigawatt hours in total consumption, so with an  
24 annual increase of about 9.6 gigawatt hours in energy  
25 consumption.



1           So what does this mean? An additional energy  
2 cost to consumers at \$1.4 million.

3                                           [Next Slide]

4           So the question that is being raised is, in  
5 order to increase the efficiency of our pumps, the  
6 consumer at the end of the day is going to have to be  
7 paying for more in actual energy consumption costs.  
8 So this is a question that we bring forth to the  
9 Commission, is if this is really the intention of the  
10 regulation?

11           So in general, improving the efficiency of  
12 these pumps is not very possible and not very  
13 feasible when it comes to energy savings experienced  
14 by the end consumer, and not even looking at the cost  
15 of upgrading and the actual product cost that is  
16 going to go into upgrading these motors.

17           So it is the opinion of the industry that  
18 the CEC look at not including the PMSM motors in the  
19 current regulation.

20                                           [End Presentation]

21           MR. STEFFENSEN: Okay. Thank you. That ends  
22 the formal presentations. We can begin going through  
23 the public comments and perhaps start a discussion as  
24 to the topics on pool pumps. And then once we  
25 conclude, then we'll take a short break.

1 I guess first up we'll have Jeff Farlow from  
2 Pentair.

3 MR. FARLOW: Hello, my name is Jeff Farlow,  
4 I'm with Pentair Aquatic Systems, and I had three  
5 basic points that I wanted to bring up.

6 One has to do with the Tier 1 and Tier 2  
7 efficiency levels. I think that those were based on  
8 data that was currently published in the CEC  
9 database. And it was just brought to our attention  
10 just in the last days, starting Saturday, that the  
11 data that we as a manufacturer had published in the  
12 database was not consistent with what our motor  
13 manufacturer supplier thought those numbers should  
14 be. And we've done some investigation and found out  
15 that there is, indeed, a difference.

16 The numbers stated in the database are  
17 higher than the products that our motor manufacturer  
18 is supplying us. How this error happened, I'm not  
19 sure. The data has been in there for years and years.  
20 I don't think there was ever any malicious intent.

21 But the point is I think we need to update  
22 that CEC database to reflect more accurate numbers.  
23 And we're not talking about a big shift, a couple of  
24 percentage points on some two-speed low speed motor  
25 efficiencies, but I think that may impact the

1 analysis, so that's something that we would want to  
2 get corrected and we're in the process of getting  
3 that information corrected.

4 I don't think that that is isolated just to  
5 Pentair, I think it may impact some of the other pool  
6 pump manufacturers. Because we don't actually test  
7 the motors ourselves; we get all that data from our  
8 motor supplier.

9 But once again, it could have been an error  
10 in how we entered the data. The source of it I'm not  
11 sure, but I think it's worth getting corrected and  
12 taking another look at what are the achievable, or at  
13 the efficiency levels that are currently available in  
14 the market.

15 So that was the first thing regarding the  
16 technical feasibility.

17 The other comment I have is regarding the  
18 ten-year useful life of pool pumps. I think this was  
19 a study that was done -- I don't know how many --  
20 maybe ten years ago. I know it was done prior to  
21 variable speed pumps even being available in the  
22 market.

23 And as a manufacturer, these variable speed  
24 pumps came to the market with additional costs, they  
25 were much more expensive to manufacture. We knew that

1 going into it and we wanted to offer more robust  
2 designs so that consumers got something extra for the  
3 money in addition to the energy savings that were  
4 available.

5           Some examples are the traditional single  
6 speed induction motor has an open drip-proof  
7 enclosure, which is much more susceptible to the  
8 environmental conditions.

9           The variable speed motors, on the other  
10 hand, come with totally enclosed fan-cooled  
11 enclosures, which increase the reliability of the  
12 product.

13           Another example would be bearings, because  
14 the drive-in bearing on a pump is probably the  
15 highest failure mode of any pool pump. To combat that  
16 failure mode, we used oversized bearings with double  
17 shields on them to even make them more protective, to  
18 prevent against this primary failure mode.

19           Also, I can't state this with fact, but my  
20 observation has been just coming from the motor world  
21 that single speed induction motors are not quite  
22 built the way they used to be built, so I think the  
23 reliability of those devices may have dropped a  
24 little since the ten-year life was estimated a decade  
25 or so ago.

1           The point being that when you compare ten-  
2 year useful life of all these products, I don't think  
3 it's a fair comparison and I would really recommend  
4 that an updated study be done that would highlight  
5 useful life of a totally enclosed fan-cooled product  
6 that runs at a very high efficiency with very minimal  
7 waste heat compared to the traditional induction  
8 motor technology of the single speed designs.

9           My anticipation is you would see a stark  
10 difference in the useful life of those two products,  
11 which would have a big impact on the cost  
12 effectiveness. If you found that one variable speed  
13 product would outlast two of the single speed  
14 induction products in its useful life, that would  
15 change the economics of this analysis significantly.  
16 So I think that's something that should be  
17 considered.

18           The third item I wanted to bring up, and  
19 it's only peripherally associated with this  
20 rulemaking but it has to do with rebate programs in  
21 California.

22           All pump manufacturers have to submit pump  
23 performance data to the California Energy Commission  
24 that's published in your appliance database. The way  
25 the IOUs operate, they use this database to determine

1 what is a rebate eligible product in their service  
2 territory.

3 I'm having a lot of trouble in getting the  
4 investor owned utilities to update their list,  
5 because they all maintain their own list on their own  
6 website of what's rebate eligible, and it's been  
7 very, very difficult to get the IOUs to keep their  
8 list current.

9 An example of difficult was ten new products  
10 were listed on the CEC database in September. By  
11 November no action had been taken. I sent an email  
12 out to all the investor owned utilities making them  
13 aware new products were in the database, please  
14 update your list. Then in January additional  
15 communication.

16 I think I corrected the third utility  
17 yesterday and I actually had to fill out their form  
18 myself, their rebate eligible form, and deliver it  
19 back to them in order for them to get that correct.

20 So that's a significant problem. And like I  
21 said, it's only peripherally related to this issue  
22 but it is within the CEC database pool pumps and how  
23 the investor owned utilities interact with that  
24 information and use it.

25 So those are my three comments.

1           MR. STEFFENSEN: Thanks, Jeff. I think the  
2 comments especially on the data, that's what we look  
3 to to establish the standards, so I look forward to  
4 written comments with some specifics both on the  
5 efficiency and also on the useful life so we can  
6 better understand if there is an impact to the  
7 current analysis that we performed.

8           Next up I would like to ask Bob Nichols to  
9 speak. And please introduce yourself and who you  
10 represent.

11           MR. NICHOLS: Thank you very much. My name  
12 is Bob Nichols. I made a few comments this morning. I  
13 came in a little short on background today. I went  
14 online and I really didn't find this report for  
15 whatever reason.

16           Anyway, a few things that I noted down was  
17 you had mentioned three-phase motors. There are  
18 several drive units available at this time that will  
19 convert 240 volt to three-phase. You will accomplish  
20 about 30 percent -- I'm still talking wire-to-water -  
21 - so you will save about 30 percent of your  
22 consumption and really maintain or improve your  
23 filter system time.

24           So they're available. Limited efficiency but  
25 great decrease in consumer cost.

1           Enforcement. At this time we've done a lot  
2 of work on asking people and trying to get numbers  
3 from distributors what the actual enforcement is.

4           Our numbers are you've got about 45 to 52  
5 percent compliance at the distributor and at the  
6 retail. Actually, this is going to eliminate single  
7 speed motors, period, but they're not going to get  
8 there.

9           So at that point we're going to be going to  
10 multi-speed and that's what we support is multi-  
11 speed. We would rather just seen no single speed  
12 motors at all in the market.

13           A few things that that does to us.

14           That undermines the professional installer  
15 with the unlicensed contractor, the unskilled  
16 installer. It will go to distribution now by a single  
17 speed motor, cut the price to the consumer and leave  
18 us out of the process because the multi-speeds are  
19 more expensive, and the consumer is looking for  
20 dollar out right now.

21           It's difficult to tell them you're going to  
22 save this money in three years or four years. So  
23 enforcement is going to be a really big deal, and I  
24 don't have the answer for that. I might have later,  
25 I'm not sure.



1           And this is going to be completely new  
2 thinking that we have to tell our industry that now  
3 the manufacturers are going to be responsible to  
4 obtain efficiency on the motor. That doesn't change  
5 our responsibility as installers to set the pumps up  
6 correctly.

7           And like Jeff said, the failure rate on the  
8 multi-speeds is nonexistent. However, the drive units  
9 are failing. How much, I don't know. Jeff would know  
10 more about that than I do, but we've found that many  
11 of the drive units are failing or the circuit boards  
12 in the control units. And that comes in at additional  
13 cost before that ten-year period that the consumer  
14 has to absorb.

15           We would support your using the term THP in  
16 everything that you write out, because some of this  
17 was horsepower, some of it was THP. It took us four  
18 or five years to teach our technicians what total  
19 horsepower was. Actually, it's what you can load the  
20 motor with, it has nothing to do with the output, so  
21 it took awhile for us to get that term out there, so  
22 don't change it now.

23           Let's see. In your quest for commercial  
24 facilities, the regulatory parties, there being the  
25 local health departments, at this point are very

1 reluctant to go with multi-speed pumps because they  
2 do not have control over what the technician or the  
3 maintenance man or the manager does with that pump  
4 once it's installed. So that's going to be an issue  
5 you're going to have to deal with at some point where  
6 the health department says we don't want these  
7 because they get installed and they're doing fine,  
8 and then the Edison bill comes in because the air  
9 conditioner is running and they go out and cut the  
10 pool pump back. They don't want that, so they're  
11 going to be after you like that. Okay.

12           One of the things that we find in our world  
13 is the setup of the pump. Efficiency can come from  
14 the manufacturers and longevity is based on the  
15 environment and how the pump is installed. And as  
16 well, to get energy savings it's got to be set up  
17 properly.

18           Where it gets difficult is that all the  
19 manufacturers have their own software and their  
20 control units. In a dream world it would be nice to  
21 have our laptop with the software on it that we could  
22 plug into the controllers and tell it exactly what we  
23 want, whether it's Pentair, Jandy, Hayward, or  
24 whoever. I don't think they're ever going to get  
25 there with that, but that would really be sweet. And

1 that would be easy to teach our technicians if one  
2 software took care of all of them. That's a big  
3 problem with sales back and forth as well.

4 Will the CEC database now, will it still  
5 demonstrate flow rates at Curves A, B, and C somehow,  
6 or are they --

7 MR. STEFFENSEN: Yeah.

8 MR. NICHOLS: -- just going to totally  
9 disregard flow rates?

10 MR. STEFFENSEN: Yeah, Curves A, B, and C  
11 will still be there and data will be presented per  
12 the motor capability, either single speed at full  
13 speed; two-speed will be full speed, half speed --

14 MR. NICHOLS: Okay.

15 MR. STEFFENSEN: -- and then variable speed  
16 will be presented at quarter speed, half speed,  
17 three-quarters, and full.

18 MR. NICHOLS: Well, that takes care of me  
19 today. Thank you very much.

20 MR. STEFFENSEN: Okay. Well, thank you. And  
21 I look forward to any comments you can provide as to  
22 specifics that would help to update our analysis. Any  
23 data that you can provide as you touch through your  
24 comments here today would be helpful.

25 MR. NICHOLS: Like I said, I couldn't find

1 this. I didn't look for this specific thing, so once  
2 I get a study on it and talk to my committee. We work  
3 by committee areas and it takes a little while to get  
4 everybody on the same boat. So thank you.

5 MR. STEFFENSEN: Thank you. Next up is Gary  
6 Fernstrom.

7 MR. FERNSTROM: Thank you, Sean. I'm Gary  
8 Fernstrom representing the California Investor Owned  
9 Utilities. I'd like to make just a few comments on  
10 previous comments that were made.

11 First of all, I'd like to recognize the  
12 staff and the wonderful job they did in preparing the  
13 staff report. In my probably fifteen, twenty years'  
14 experience working with the California Energy  
15 Commission, this is one of the most thorough,  
16 thoughtful, and complete staff reports I've ever  
17 seen. It's just excellent.

18 With regard to Matt's comments, I was a  
19 little confused how he asserts that an energy  
20 efficiency improvement regulation would result in  
21 more energy use by customers using his products.

22 I think there may be some confusion between  
23 the existing regulations that prohibit motor designs  
24 other than cap start, induction run, and permanent  
25 split capacitor, and the proposed regulations looking

1 forward.

2           Rather than take time here now to  
3 investigate that, I propose that we collectively work  
4 with Matt to try and get a better understanding of  
5 the point he's making.

6           With regard to Jeff Farlow's comments,  
7 apologies if Pentair and others have been having  
8 difficulty getting their products listed on the  
9 California utility eligibility list.

10           It's long been the intention of the  
11 utilities to utilize the CEC list, and I think we're  
12 moving in a direction where that can be done, because  
13 going to the CEC appliance database one can uniquely  
14 sort for variable speed products, and currently it is  
15 those that the utilities provide rebates for.

16           So the intention here is for the utilities  
17 to get out of the listing business and defer to  
18 products listed on the CEC appliance database that  
19 have the design characteristics that form the basis  
20 of eligibility for the utility programs.

21           And with regard to the equipment life, I  
22 don't disagree that the life of the new variable  
23 speed products means that they have better designed  
24 and built motors, might be longer than ten years.  
25 However, in a lot of the utility programs we're

1 required by the California Public Utilities  
2 Commission to use the DEER, Database of Energy  
3 Efficiency -- I forget what the "R" stands for.  
4 Anyway, the energy efficiency performance in our  
5 programs, and I would suggest that if manufacturers  
6 believe the life should be longer than the ten years,  
7 that they address the California Public Utilities  
8 Commission and its consultants that sets the ten-year  
9 life.

10           Certainly, the Energy Commission in its  
11 analysis could use a longer life. It seems to me that  
12 if we did that, it would improve the cost  
13 effectiveness of the higher performance products, and  
14 that's the direction that the industry would like to  
15 see us all going. That's the direction that we'd like  
16 to go. So we would support Jeff in his recommendation  
17 that a longer life be considered.

18           With respect to Bob Nichols' comments, we  
19 agree and have long agreed with IPSAA that compliance  
20 is an issue with these products, and the CEC appears  
21 to be moving in a direction where more products and  
22 more applications would be covered, thus reducing the  
23 compliance issues at point of sale, and we support  
24 that.

25           With respect to health departments, yes,

1 some concern has been expressed about the potential  
2 that the settings on these variable speed pumps might  
3 be changed after they're installed, resulting in two  
4 potential outcomes.

5 One would be a flow higher than what the  
6 Health Code requires in suction and discharge lines.  
7 The other being fewer turnovers, or a lower flow than  
8 required by the health department.

9 It's our observation that a lot of this  
10 equipment has already been installed in commercial  
11 applications. We've seen in northern California  
12 relatively no difficulty with health departments over  
13 this issue. And the manufacturers have moved to  
14 provide service person only lockouts and other  
15 features in the pump, making it difficult to change  
16 the speed once it has been set by qualified and  
17 authorized personnel.

18 So we tend to believe concerns with the  
19 health department can be easily addressed, affording  
20 enormous savings in small commercial pool  
21 applications.

22 That concludes my comments, thank you.

23 MR. STEFFENSEN: Thank you, Gary.

24 I just wanted to go back to Jeff just  
25 briefly. I guess I'm trying to understand the

1 equipment life, because that is important to my  
2 analysis, and I just want to understand your comments  
3 and make sure I got it down correctly.

4           Were you saying that some equipment has a  
5 shorter equipment life than ten years and some may  
6 have a longer equipment life?

7           MR. FARLOW: What I wanted to do was just  
8 throw the ten years out for a second, and what I'm  
9 comfortable saying is that the open drip-proof  
10 current single speed technology does not last as long  
11 as the totally enclosed fan-cooled robust bearing  
12 designs.

13           Whether that's ten year, I don't know the  
14 answer to that. Currently it's ten years. If I had to  
15 guess, I would say that the single speed induction  
16 stuff does not last ten years anymore.

17           In the Florida market it's about three  
18 years. That's a more robust market. You know, it's a  
19 very salty sandy condition.

20           But in California my experience is that  
21 we're not seeing motors last ten years anymore. And  
22 yet the variable speeds, they've been in the market  
23 for ten years now. Some of those are still going  
24 strong.

25           So we don't have decades of data to show



1 that it's greater than ten, but I think any knowledge  
2 of fundamental motor design would show the TEFC  
3 design being superior and more robust than an open  
4 drip-proof design.

5 Does that address it?

6 MR. STEFFENSEN: Okay. Yeah, I wanted to try  
7 to get those comments and clarification, so I will be  
8 revising and updating the staff report, so I wanted  
9 to understand your position so I could incorporate  
10 that into the staff report. Thank you.

11 MR. NICHOLS: (inaudible)

12 MR. STEFFENSEN: Let's try to get through  
13 everyone first.

14 MR. NICHOLS: I just wanted to comment on  
15 what Jeff had to say.

16 MR. STEFFENSEN: Oh, just on that single  
17 topic, yes.

18 MR. NICHOLS: Real quick. The life of a  
19 motor is the manufacturer does everything they can to  
20 make it so it's going to last ten years or better.  
21 Installation environment is completely the crux right  
22 there.

23 If the motor is installed improperly in the  
24 bushes on the ground in the dirt, it's not going to  
25 last ten years. So again, it's the training.

1           Manufacturers offer a lot of training. FPSIE  
2 does a great job on helping us out. There's a lot  
3 there.

4           But just remember it's how it's installed  
5 and what kind of plumbing it's installed is how long  
6 it's going to last. And we don't -- let's wait until  
7 they're ten, twelve years out there and then we'll  
8 know how long they're going to last.

9           What we're talking about is the drive units,  
10 the control units on top. They're failing under five  
11 years. I think it's only been a few months now that  
12 we've been able to purchase a drive unit for an 8 by  
13 160, right? I don't know, it's just recently, yeah.

14           But prior to the last six months, any of  
15 those drive units that failed, they were replaced on  
16 warranty. So we don't really know for sure, but we  
17 know the drive units are costly to repair. That's it.

18           MR. STEFFENSEN: All right. Thank you, Bob.

19           Let's have Shajee up next. Please introduce  
20 yourself and who you represent.

21           MR. SIDDIQUI: Good morning, thank you. My  
22 name is Shajee Siddiqui, I'm with Zodiac Pool  
23 Systems. And really I just wanted to echo, as a  
24 manufacturer. We manufacture the Jandy line of  
25 products.

1           I wanted to echo what Jeff indicated earlier  
2 about the motor efficiency data. We were also  
3 informed a very short time ago that some of the data  
4 that has been out there may actually be incorrect  
5 regarding the single speed motors, so I would  
6 encourage staff to really look at that again  
7 carefully, make sure we've got the proper splits on  
8 that.

9           Secondly, I know we've been talking about  
10 the useful. And again, I agree with what Jeff said  
11 and certainly with what the gentleman there said as  
12 well, is that although the motors themselves may be  
13 designed robustly, we really don't have a lot of good  
14 data on the more recent of the newer products right  
15 now, because they in fact are susceptible or affected  
16 by environment, weather, installation, a number of  
17 features that are now in the pools, etcetera.

18           So again, I would encourage staff to look at  
19 that as well carefully because I think it does make a  
20 difference on what we're all trying to achieve here.

21           That's all, thank you.

22           MR. STEFFENSEN: Okay. Thank you. And if you  
23 have any data to help better inform the analysis, I  
24 would look forward to that in the written comments.

25           MR. SIDDIQUI: Sure. I'll see what we can

1 get you. Thank you.

2 MR. STEFFENSEN: Up next is Meg from the  
3 NRDC.

4 MS. WALTNER: Meg Waltner from the Natural  
5 Resources Defense Council. I just wanted to start by  
6 thanking the CEC staff for their work developing the  
7 proposal. We think you've done a great job.

8 NRDC supports the standards as proposed. As  
9 shown in the analysis, the standards are cost  
10 effective, achievable, and will result in significant  
11 energy savings, consumer utility bill savings, and  
12 emissions reductions.

13 In particular, we support the expansion of  
14 coverage to pool pump motors below one horsepower and  
15 the expansion to all single phase pool pump motors  
16 under five total horsepower.

17 There's a few small details that we'll  
18 comment on in our written comments, but in general,  
19 we thank you and support the proposal.

20 MR. STEFFENSEN: All right. Thank you. Up  
21 next will be Scott Petty. Please introduce yourself  
22 and who you represent.

23 MR. PETTY: Scott Petty with Hayward Pool  
24 Products. Just as another manufacturer of pumps  
25 wanted to also emphasize or reiterate that I think

1 the need for updated data with respect to the  
2 efficiency, with respect to the product life that  
3 we're talking about, especially motors.

4           We've talked as manufacturers a lot about  
5 pumps, but we're explicitly talking about motors, the  
6 life of motors, single, two-speed, and to a lesser  
7 extent variable speed. I think we do need some  
8 updated study. I don't think ten years across the  
9 board is appropriate at this point in time. So I  
10 would encourage that as an industry to work toward  
11 that.

12           And then also again to reiterate what was  
13 said before. I think from the service standpoint,  
14 let's try as a group through the CEC as an industry  
15 try to learn from what we did years ago when the  
16 first rulemakings came out, because unfortunately  
17 there is an opportunity for people that, because of  
18 enforcement or the lack thereof, to perhaps try to go  
19 around the system.

20           And when we're talking about a motor  
21 replacement that's typically in the aftermarket and  
22 our service industry is what does that and we've got  
23 a lot of great people in the industry that follow the  
24 rules. Some may not always so let's use our  
25 experience and training. I don't know if there's any

1 opportunities through the CEC, but as an industry  
2 through APSP as manufacturers, let's try to be  
3 proactive with getting that education out, promote  
4 the benefits of this.

5           We know there's never going to be perfect  
6 enforcement. Let's do what we can to help shortcut  
7 some of the learning. You know, it took four years as  
8 an industry, even within manufacturers, to get used  
9 to the term "total horsepower." Let's do something to  
10 try to short circuit that as much as we can and  
11 improve that education.

12           Thanks.

13           MR. STEFFENSEN: Thank you. I guess we could  
14 turn toward -- oh, is it Paul?

15           MR. LIN: Yes.

16           MR. STEFFENSEN: Okay.

17           MR. LIN: Hi, this is Paul Lin with Regal  
18 Beloit. I just wanted to make a couple comments  
19 relative to the staff report.

20           Regal Beloit has always been supportive of  
21 higher efficiency standards either through state  
22 efforts or through federal efforts, but we do see  
23 some issues relative to some of the proposal, so let  
24 me just go through a couple of them here.

25           One of the things that we see is for above

1 ground market. It's going to be difficult for us to  
2 meet Tier 1 and Tier 2 levels, and then especially  
3 for Tier 2 levels we see with current products of not  
4 being able to meet Tier 2 with the platforms, 48  
5 frame platforms that we have today.

6           So we wouldn't see this as a wise investment  
7 in redesigning the whole platform just for this  
8 particular regulation given the total market.

9           And also, from the consequences of that we  
10 feel that there is a risk of this particular segment  
11 to go to a less than one horse design, so if today  
12 they're above one horse, we see a potential risk of  
13 them standardizing to a .99 horsepower just to try to  
14 get out of the two-speed requirements. So that's a  
15 concern that we have. And then in the end what we  
16 would lose is the energy savings relative to the two-  
17 speed design.

18           Another factor too is in today's market we  
19 do have some aluminum winding designs for manufacture  
20 that, because of cost issues, we've offered these  
21 aluminum designs to them.

22           With the Tier 1 and Tier 2 levels, we see  
23 that these designs will essentially have to be  
24 redesigned to be all copper, and therefore, have a  
25 higher cost to the end user.

1           For Tier 2 levels for the 48 frame  
2 efficiency levels that we see, it's going to be  
3 nearly impossible to meet, and we would see that the  
4 designs will go to a 56 frame design in order to meet  
5 the Tier 2 levels. And the 56 frame design, it's  
6 going to be obviously more expensive than the 48  
7 frame, but there's still going to be a significant  
8 gap between a 56 frame design and a variable speed  
9 design. And currently the database, I don't believe,  
10 has any 56 frame designs in that.

11           And then speaking of the database, I think  
12 there were some models that were identified of being  
13 able to meet Tier 2 levels. And Jeff and Shajee had  
14 indicated, they're in process of restating the  
15 efficiencies on those.

16           So I think right now, based on some of the  
17 things that we see, the only designs that meet Tier 2  
18 levels are the permanent magnet designs today and  
19 nothing else.

20           Something to also take into account on the  
21 single speed designs. It's going to be a little bit  
22 harder for us from a single speed design because  
23 typically these are lower output motors and  
24 efficiency levels may be a lot higher than what we  
25 can achieve in terms of improved design relative to



1 mechanical windage and friction. So there is some  
2 physics that we would have to run up against.

3           And also for higher cap run and high speed  
4 cap run and low speed cap run designs, there is also  
5 a need to incorporate relays in the design, which  
6 would add additional cost to the end user.

7           So we're, I would say, in general concerned  
8 about the impact to the industry relative to some of  
9 these efficiency levels that have been proposed.

10           MR. STEFFENSEN: Thank you. I guess I wanted  
11 to ask a couple follow-up questions just to clarify  
12 and enhance my understanding.

13           When you have said that it would be  
14 difficult for the 48 platform to comply, what parts  
15 of the standard would it be difficult? And again,  
16 could you maybe go a little bit more to the cost and  
17 what would advance the platform to, as you said,  
18 redesign?

19           MR. LIN: Okay. So I would say on the Tier 2  
20 levels that have been proposed, the main issue that  
21 we have is the low speed efficiency requirements, and  
22 we see that as a driver, if you will, of having to  
23 meet the low speed minimum efficiency on that side to  
24 drive the design of the motor platform.

25           And our engineers have gone in and reviewed

1 our designs relative to those proposed efficiency  
2 levels and have come back and said that those are  
3 nearly impossible to meet with our current 48 frame  
4 design.

5 And as for the Tier 1, it's a challenge  
6 relative to, again, the low speed requirements that  
7 have been proposed. And I think even on some models  
8 the high speed is a little challenging but I don't  
9 think it's near as an issue as versus the low speed.

10 MR. STEFFENSEN: Are you speaking to -- what  
11 type of motor technology are you speaking?

12 MS. LIN: Whether it be a (inaudible). On  
13 the variable speed side, we don't view that as too  
14 big of an issue, but we're more talking about the  
15 induction side.

16 MR. STEFFENSEN: Okay. I felt like I had  
17 another question. Again, a lot of good detail and  
18 that's what this workshop is about. I'm much into the  
19 details and understanding and written comments will  
20 be very helpful. I know we're keeping it brief now  
21 but the depth and understanding that help to guide  
22 us, that's what we're looking for here today and in  
23 the future.

24 Okay. It looks like Gary would like to be  
25 recognized.

1           MR. FERNSTROM: Thank you, Sean. This is  
2 Gary Fernstrom on behalf of the California IOUs  
3 again. I'd just like to observe that several speakers  
4 commented on the importance of training and education  
5 relative to swimming pool pump and energy efficiency  
6 improvement opportunity and these regulations in  
7 particular.

8           The California IOUs have a training class  
9 and require that participating contractors in the  
10 rebate program take this class. Currently, as least  
11 for PG&E, it's offered on PG&E's behalf by FPSIE.  
12 PG&E is working on developing an online version of  
13 it.

14           But my opinion is that because this  
15 technology, two speed, multi-speed, variable speed,  
16 is enabling and the energy savings depend totally  
17 upon how installation contractors set the equipment  
18 up, that it would be useful to have some form of  
19 education throughout the pool service industry, not  
20 only those participating in the utility rebate  
21 programs, but all of the service personnel.

22           So to the extent that we can collectively  
23 work to strengthen education within the industry,  
24 that would be very useful for energy savings in  
25 California.

1           Secondly, commenting on Paul's discussion  
2 about above-ground pools, those fall into two  
3 categories; seasonal pools and year round pools. And  
4 in our opinion, there's no reason why the larger year  
5 round above ground pools shouldn't have pumping  
6 provided as efficiently as in-ground pools.

7           The whole notion of the 48 frame motor and  
8 associated pump being less costly in order to serve a  
9 market niche for above ground pools, in our opinion,  
10 is kind of misdirected. Those pools merit the same  
11 efficiency level as the equivalent in-ground pools  
12 because they pump year round with roughly the same  
13 operating hours, and in many cases close to the same  
14 volume of water. So we favor regulations that would  
15 require above ground pump motors to be equally as  
16 efficiency as in-ground ones.

17           Thank you.

18           MR. STEFFENSEN: Thank you, Gary.

19           I think that is something that -- just to  
20 speak to Gary's comment about the above ground. The  
21 assumptions in the draft staff report look to mostly  
22 in-ground, and so we are looking to expand that  
23 analysis and look to cases where we would look to  
24 other cases such as the above ground, the seasonal  
25 pools.

1           As Matthew from Bestway spoke about the  
2 above ground and seasonal pools, we are looking for  
3 comments, especially the written form, to describe  
4 those duty cycles and pumping rates so we can better  
5 understand and analyze that to show what is cost  
6 effective and technically feasible.

7           Is anyone else in the room commenting today,  
8 asking questions on the proposal? If not, we'll turn  
9 it over to Kristen for WebEx, anyone online wanting  
10 to make a comment today?

11           Ray wants to make a comment.

12           MS. DRISKELL: Ray, I'm unable to unmute  
13 you. If you can let me know what call-in number you  
14 are through the chat box then I can do that.

15           MR. STEFFENSEN: Is there anyone else? No?

16           MS. DRISKELL: I suggest that we try again  
17 after the break to see if we can get him online.

18           MR. STEFFENSEN: Okay. Anyone else in the  
19 room, just a last chance. Otherwise, we'll set up  
20 here for a break to return, say, 15 minutes at 11:35  
21 sharp. So we'll resume at 11:35. Thank you.

22           [Off the record 11:22 a.m. to 11:35 a.m.]

23           MR. STEFFENSEN: I'd like to again welcome  
24 everyone to the pool pump and motor workshop and also  
25 portable electric spa.

1           We have one last commenter online. I'm going  
2 to unmute the line for Ray. Would you please say your  
3 name and who you represent?

4           MR. MIRZAEI: Can you hear me?

5           MR. STEFFENSEN: Yes, we can.

6           MR. MIRZAEI: Hi. This is Ray Mirzaei with  
7 Waterway Plastics. We manufacture (inaudible)  
8 variable speed pumps (inaudible) database and also we  
9 are Energy Star, and other pumps for in-ground pools  
10 and above ground pools.

11           I just want to comment in support of what  
12 Paul Lin from Regal Beloit mentioned and bring up the  
13 fact that energy factors include the motor  
14 efficiency, and the concern that is if an above  
15 ground pool that uses a three-quarter horsepower  
16 motor with a high energy factor to be replaced with  
17 an oversized (inaudible) horsepower variable speed  
18 pump, and the pump does not receive proper speed  
19 setting and schedule, it actually adds to the energy  
20 consumption.

21           And the other point I want to make is a lot  
22 of above ground applicants are 115 volt applications  
23 and the number of 115 volt variable speed pumps  
24 available in the market are relatively limited for  
25 the time being.

1           That was my comment.

2           MR. STEFFENSEN: Okay. Thank you, Ray.  
3 Again, if you can provide some written comments that  
4 would go into more depth, we'd like to analyze the  
5 above ground pool case, understand the duty cycle,  
6 types of equipment, motor efficiency, costs. That  
7 data would help to inform our analysis.

8           At this time, unless there's anyone else in  
9 the room that would like to make a comment on pool  
10 pumps and motors, I will turn over the presentation  
11 to Ben Fischel from the Energy Commission.

12           MR. FISCHEL: Hello everyone, my name is Ben  
13 Fischel. I'm an Associate Energy Specialist here at  
14 the Energy Commission and also a part of the  
15 Appliance Efficiency Unit.

16           Sean is the staff contact for the pool pumps  
17 and motors and I am the staff contact for portable  
18 electric spas so I'll be presenting on this half of  
19 our staff proposal.

20           I want to welcome everybody here and those  
21 also tuned in as well. Everyone's participation and  
22 comments help us develop a better rulemaking, so  
23 without further ado, I'll jump right into what we  
24 propose.

25                                                           [Next Slide]

1 First, I want to lay out the agenda, which  
2 is very similar to how the pool pumps were presented.

3 I'll briefly walk everyone through what we  
4 are proposing, and at the end I'll mention a few  
5 discussion topics that we would really appreciate  
6 your input on.

7 Next, a few speakers will make their formal  
8 presentations, and finally, we'll open it up to the  
9 comments.

10 [Next Slide]

11 The purpose of this workshop is to present  
12 our staff proposal, and then allow for feedback.

13 Currently, the Energy Commission regulates  
14 portable electric spas.

15 Within Title 20 of the California Code of  
16 Regulations, there is a test method in section 1604  
17 and a normalized maximum standby power standard in  
18 section 1605.3.

19 As most of you probably know by now, we've  
20 been studying spas for the last few years and  
21 recently released our draft staff report which can be  
22 found at this link.

23 Our proposal is to achieve energy and water  
24 savings through one of the industry's updated test  
25 methods, which includes within it an updated standby



1 mode standard and a label requirement.

2           The report details what we are proposing, so  
3 we hope to receive public comments today and in the  
4 following weeks until the February 29th deadline.

5                                           [Next Slide]

6           A portable electric spa as currently defined  
7 in section 1602 of Title 20 in the California Code of  
8 Regulations means a factory-built electric spa or hot  
9 tub, supplied with equipment for heating and  
10 circulating water.

11           The proposed definition will define portable  
12 electric spas as factory-built and free standing  
13 electric spas or hot tub units, supplied with  
14 equipment capable of heating and circulating the  
15 water inside a rigid, flexible, or inflatable shell.

16           There will be a definition for exercise spas  
17 closely based off of the definition within the  
18 proposed test method.

19           And for combination spas, the definition  
20 will be a portable electric spa with separate bodies  
21 of water capable of heating each body of water at  
22 different temperatures.

23           In short, the scope of our regulations would  
24 remain the same; all portable electric spas would be  
25 regulated.



1 standby standards.

2 As a spa is in standby, it needs to maintain  
3 a certain temperature, so the insulation along with  
4 the spa cover help trap as much heat as possible in  
5 the spa to decrease the amount of energy used to  
6 maintain temperatures during idle periods.

7 [Next Slide]

8 The importance of spa covers is a point we  
9 really want to emphasize.

10 Ninety-nine percent of currently certified  
11 spas in the Energy Commission's Appliance Database  
12 are fully insulated so the performance could hinge on  
13 the quality of the spa cover used.

14 Since spa covers mitigate the amount of heat  
15 lost through conduction, convection, radiation, and  
16 evaporation, they are a vital piece of equipment that  
17 should come with a spa unit being sold as they can  
18 significantly affect the spa's energy performance.

19 In a worst-case scenario of running a spa of  
20 450 gallons in capacity on standby all year long and  
21 either not owning a spa cover or owning one but never  
22 using it, one gallon of water could be lost through  
23 evaporation every hour along with over \$1500 in  
24 energy cost in total for the year.

25 This is on the lower end of the spectrum.

1 A swim spa would lose at least three times  
2 that amount due to the greater capacity and exposed  
3 surface area of water.

4 A more realistic duty cycle would be  
5 approximately 3 months out of the entire year which  
6 would still cost hundreds of dollars and a few  
7 thousand gallons of water.

8 One key issue that we would like to address  
9 in this rulemaking is how to ensure that consumers  
10 purchase and use effective spa covers with their  
11 portable electric spas. Because spa covers and spas  
12 may be manufactured by different companies, and  
13 because a consumer may purchase a spa cover  
14 separately from the spa itself, we are considering  
15 how best to draft a standard that would cover both  
16 products. The current approach we suggest in the  
17 staff report is somewhat of a soft approach directed  
18 at consumer education, but we are also considering  
19 more mandatory requirements.

20 [Next Slide]

21 The current test method for portable  
22 electric spas is section 1604(g)(2) under Title 20 of  
23 the California Code of Regulations.

24 The proposed test method will be the  
25 ANSI/APSP/ICC-14 (2014) test procedure with the

1 exception of the swim spa standby requirement found  
2 in Section 6.3.1.

3 In the draft staff report, there's a typo.  
4 Where it shows an exception of 6.3, it should be  
5 6.3.1.

6 Section 6.3.1 of the test method is the  
7 actual section we intended to have as the exception  
8 as it sets a separate standby standard for exercise  
9 spas rather than matching the uniform standard we are  
10 currently proposing across all types.

11 [Next Slide]

12 For the standby power consumption, the  
13 current standard is 5 times the volume to the two-  
14 thirds.

15 The proposed standby standard will be 3.75  
16 times the volume to the two-thirds all added by 40.

17 This will provide some relief for the  
18 smaller capacity units. As volume increases, the  
19 relief decreases.

20 This proposed standard will be uniformly  
21 applied to all types of regulated portable electric  
22 spas which is why we have made an exception to  
23 section 6.3.1 of the proposed test method.

24 [Next Slide]

25 The labeling requirement we are proposing is

1 based off of the same labeling requirement found in  
2 section 7 of the proposed test method.

3           However, at this point, we additionally  
4 propose to remove the requirement in that label  
5 template that states a spa with the affixed label  
6 must be sold with the test cover or a manufacturer  
7 approved equivalent.

8           Until we better understand any nuances and  
9 the methods of shipping and selling both spas and  
10 their covers, we will have that as a discussion topic  
11 for the comment period.

12                                                       [Next Slide]

13           Since the label we are proposing will have  
14 the model number of the spa cover used during the  
15 test, we will be asking for the model number of the  
16 test spa cover during the certification process in  
17 which we refer to Table X of section 1606 of the  
18 California Code of Regulations showing what data  
19 fields are asked for in certification.

20                                                       [Next Slide]

21           In short, the feasibility of our proposal  
22 involves the data we've received in our Appliance  
23 Efficiency database which was submitted to the  
24 Commission under penalty of perjury for selling the  
25 units in California. Looking at the models in the

1 database, compliance was found across the multiple  
2 volume ranges. Both conventional spas and swim spas  
3 have approximately 70 percent of compliance with the  
4 proposed standard being overlaid on the data. We  
5 could not however find any models in our database  
6 that were inflatable spas and we do realize that  
7 under the current scope, their lack of insulation  
8 prevents them from meeting the current and proposed  
9 standards which is why we left inflatable spas out of  
10 our statewide savings and cost benefit analysis.

11 [Next Slide]

12 Ways to increase performance from non-  
13 compliance to compliance could be using better shell  
14 insulation or including a spa cover that utilizes an  
15 improved cover design and/or improved insulation  
16 materials.

17 There are different types of hinge designs,  
18 skirt designs, thermal barriers, and core materials  
19 used.

20 Regarding the test method:

21 The 2014 version of the test method closely  
22 resembles the current test method in Title 20 of the  
23 California Code of Regulations by expounding on a few  
24 of the procedures within, also providing different  
25 testing temperature guidelines for conventional spas

1 and exercise spas, and was developed to be considered  
2 for adoption by federal, state, and/or local  
3 government.

4 [Next Slide]

5 Our methodology for the cost-effectiveness  
6 involved looking at reports and studies on the  
7 differences between a noncompliant spa and a  
8 compliant spa.

9 We then looked at savings from decreased  
10 evaporation rates and decreased electricity use, plus  
11 studies on the impacts of a label on consumer  
12 decision making. The incremental cost from non-  
13 compliance to compliance is \$100 for the cover and 38  
14 cents for the label.

15 Prior to the projected \$100 cost for the  
16 covers, the 2006 study showed the cost decreasing  
17 throughout the years as better technology became  
18 widely available so we believe the \$100 estimate is  
19 rather conservative.

20 The approximate lifecycle benefit for both  
21 types of spas is at least

22 \$500 which our staff believes provides great  
23 incentive for improvements to be made.

24 [Next Slide]

25 The estimated savings from the proposed



1 standby standard would total 4.8 Gigawatt hours after  
2 the first year and 61 Gigawatt hours per year  
3 following full stock turnover.

4 For the label requirement, the estimate is  
5 based on a 5 percent impact on total consumption with  
6 improvement made on sales-weighted average  
7 efficiency. After the first year, 6.5 Gigawatt hours  
8 would be saved.

9 After full stock-turnover, 80 Gigawatt hours  
10 per year would be saved as costumers make informed  
11 spa purchases.

12 [Next Slide]

13 The estimated environmental impacts show the  
14 total avoided air pollutants to be nearly 15 tons  
15 along with 48,000 tons of GHG emissions being  
16 avoided.

17 These estimates are based on the amount of  
18 energy savings from the proposed standby standard and  
19 the labeling requirement.

20 [Next Slide]

21 Some discussion topics which we are very  
22 eager to hear feedback on involve the spa cover, as  
23 mentioned before, the labeling requirement, and how  
24 inflatable and exercise spas fit in the picture.

25 Are spa covers used during the test

1 sometimes sold separately from the unit?

2 Are test spa covers adequately labeled to  
3 provide the Commission with the model number during  
4 the certification process?

5 How much will a modified label requirement  
6 affect multi-state sales?

7 And how are inflatable and exercise spas  
8 treated under the proposed standard and test method?  
9 Should the definition exclude them rather than being  
10 broad? Should they have a separate standard?

11 So these are some of the discussion topics.  
12 There might be more brought up during discussion.

13 [Next Slide]

14 That concludes my presentation on our staff  
15 proposal.

16 An important reminder is that comments  
17 during this comment period are due by 5:00 p.m. on  
18 February 29th.

19 Comments can be sent electronically to the  
20 docket link or by digital copy to  
21 docket@energy.ca.gov.

22 The hard copy method is also available. Just  
23 be sure to include the docket number and indicate the  
24 correct title in the subject line.

25 [Next Slide]



1 electric spas back in 2004.

2 The standard again took effect in 2006.

3 And then there was a subsequent study that  
4 PG&E was involved with down at Cal Poly San Luis  
5 Obispo to verify the savings from portable electric  
6 spas, which was a really helpful study and I think  
7 even continued to support the staff report.

8 And then again in 2013 this rulemaking  
9 began, starting with asking for a labeling proposal.

10 [Next Slide]

11 So again, Ben went over this. The current  
12 standard is 5(V-2/3) and that's just for the standby  
13 power, not the active mode power.

14 [Next Slide]

15 So when this rulemaking began, we submitted  
16 a labeling proposal initially.

17 And I'm sorry, that should be January 2014,  
18 the CEC held a public meeting and then asked for a  
19 standards proposal as well seeing the spread of data.

20 Shortly after that meeting, the IOUs engaged  
21 with the APSP-14 group to negotiate a label and an  
22 updated standards level.

23 And then we took all that information and  
24 wrapped it together and submitted a new CASE report  
25 to the CEC reflecting this general consensus.



1 [Next Slide]

2 We also support the adoption of the APSP-14  
3 2014 maximum allowable standby standard. Using this  
4 will lead to a market weighted average of 8 percent  
5 savings and will eliminate, at least at the time of  
6 this analysis, 28 percent of the spas within the CEC  
7 database.

8 [Next Slide]

9 And as you mentioned, in discussing this  
10 standard we changed it to give a little bit of a  
11 break to the smaller spas since they inherently use  
12 less energy and slightly more stringent on the larger  
13 spas.

14 [Next Slide]

15 This was the original label that I designed.  
16 I'm not a label designer but we submitted it and,  
17 again, eventually worked with the APSP group to come  
18 up with this label, which we believe is good. It  
19 provides consumers with some broad general  
20 information that will be needed to be stuck to the  
21 inside of the spa until the point at which it's sold.  
22 When someone is walking around the showroom floor,  
23 they'll be able to easily tell what the standby watts  
24 are and can kind of contextualize, oh, 192 watts,  
25 that's like two light bulbs on all the time. As

1 someone who used to sell spas, this would be useful.

2 [Next Slide]

3 So with that, we do have some suggestions  
4 for improvement. Again, we'll outline them in our  
5 comments. However, probably the largest one, and I  
6 think it was one of your discussion items that you  
7 requested, was with regard to the spa cover.

8 And upon thinking about this further, we  
9 believe that spas should be sold with the cover in  
10 which they are tested. Without doing that it would be  
11 like saying you can sell a refrigerator but choose  
12 your doors, which would seem kind of interesting and  
13 would largely impact the energy performance of the  
14 product.

15 And also, we need that product to match  
16 what's in the database.

17 One potential solution for this, perhaps --  
18 the example was cited in the staff report. Well, what  
19 if a spa dealer wanted to upsell a more efficient spa  
20 cover?

21 We believe that that could be remedied  
22 through potentially creating a different skew within  
23 the database so you would have the hot tub 100  
24 premium cover and the hot tub 100 standard cover, and  
25 they would have two different performance levels

1 listed within the database.

2 This would ensure that lower cost covers and  
3 thinner covers, less efficient covers, aren't sold at  
4 the dealer and the product performs less than what is  
5 published in the database.

6 Ben, you mentioned the clarification that  
7 APSP-14 2014 is supposed to be 6.3.1, not 6.3, so I  
8 think that's been addressed.

9 One concern we have with regard to the  
10 label, should this be extended to exercise spas. The  
11 current label only goes up to 450 watts and exercise  
12 spas go beyond that, so we may need to consider a  
13 different label baseline or design for those types of  
14 spas. Otherwise, it would just be off the charts and  
15 wouldn't fit on the label.

16 And we also would like to clarify how  
17 combination spas are dealt with in the test  
18 procedure, the label, and overall just throughout the  
19 standard as it wasn't clear if those are treated  
20 differently or the same.

21 So with that, thank you very much.

22 [End Presentation]

23 MR. FISCHER: So next I would like to invite  
24 Jennifer Hatfield from the Association of Pool and  
25 Spa Professionals.



1 MS. HATFIELD: I'm actually going to defer  
2 my time to two of our technical members on the phone.

3 MR. FISCHER: Could they introduce  
4 themselves? Who are they, Jennifer?

5 MS. HATFIELD: Michael McCague and Angelo  
6 Pugliese. I know Mike's on the phone.

7 MR. MCCAGUE: This is Mike McCague. Can you  
8 hear me now?

9 MR. FISCHER: Yes.

10 MR. MCCAGUE: I believe Angelo had a last  
11 minute schedule change so I'll take charge of this.

12 My name's Mike McCague. I am the Chairman of  
13 the International Hot Tub Association, and I also am  
14 a member of the APSP-14 Committee. Angelo would be  
15 the chairman of the committee. So we just want to  
16 comment on some of these items here.

17 Next slide, please.

18 [Begin Presentation]

19 A couple of our topics would be just  
20 reviewing the collaboration we've had on this  
21 process. And then discuss the exercise spas,  
22 inflatable spas, and the energy label. And it looks  
23 like a lot of these topics are coming back again,  
24 which is good.

25 Next slide, please.

1 [Next Slide]

2 So just to recap. The Title 20 was portable  
3 electric spas, and as Chad mentioned before,  
4 (inaudible) was done on portable electric spas  
5 through Cal Poly and other locations.

6 And then we had created the APSP-14 standard  
7 in conjunction with the CEC.

8 And then in 2013 when there was the  
9 requirements for the desire to add labeling and other  
10 refinements, we worked again with the CEC and Chad  
11 and the IOU groups to create an improved standard,  
12 which hopefully covered all the parameters that we  
13 were looking for.

14 But one area that's come up is we want to  
15 talk about exercise spas.

16 Next slide, please.

17 [Next Slide]

18 So the exercise spa is different than a  
19 regular spa. Large volume, 1,000 gallons to 2,500  
20 gallons.

21 It's designed for exercising, so the typical  
22 standby temperature is going to be 87, 85, in that  
23 range. Some of them can go hotter to 104, which is  
24 maybe what's been put on the database from CEC. I  
25 can't comment to that exactly, but typically

1 operating temperatures are at 87. Exercising at  
2 warmer temperature is basically not safe and not  
3 healthy to do that.

4           So it's a physical therapy unit for that  
5 use.

6           Next slide, please.

7           [Next Slide]

8           So as the new definitions have come out,  
9 we're pleased to see that they do call out exercise  
10 and common spas more clearly, because the original  
11 Title 20 language didn't call out exercise in a clear  
12 way.

13           So that created a little gray area and it  
14 was difficult for manufacturers to know where these  
15 would place and would have to call the CEC directly  
16 to get guidance on the interpretation.

17           But one of the things that we'd like to  
18 discuss, and I think we'll pick up in the comments  
19 section, and has also been brought up previously, is  
20 the dual temperature unit. How is that going to be  
21 treated?

22           Testing at 87 versus 104.

23           The APSP-14 standard that we've been talking  
24 about calls out an 87 degree temperature test, and we  
25 want to see that as excluding some of the different

1 sections, 6.3.1, what was the CEC impact or desire on  
2 the test temperature, if that was wanting to be  
3 changed as well or not.

4           Again, 87 is the recommended temperature.

5           So as we develop this new 2014 standard, the  
6 preference was to open up explicitly to some spas,  
7 get some spas added to the database freely without  
8 basically a limit, and then in two years' time review  
9 the database and see how things are really laying  
10 out, and then create perhaps a separate curve for  
11 some spas to better capture those and get the  
12 efficiency requirements that the state is looking for  
13 on these products.

14           But I think at the moment there's not a lot  
15 of data and not a lot of information out there to  
16 necessarily lump them in with just a standard hot  
17 tub.

18           Next slide, please.

19           [Next Slide]

20           So dual temperature spas, these are a little  
21 different, and you're seeing some on the slide. It's  
22 got a swim portion and then a hydrotherapy portion.  
23 And per the standard which has been proposed in the  
24 CASE study, they're tested at two different  
25 temperatures.

1           And so one thing that we need to address  
2 here is, do we address it as a single product, which  
3 would make sense, but maybe two different labels, one  
4 for the hot hydrotherapy side and a label for the  
5 swim spa side. We need clarification on the intent in  
6 that.

7           I know some manufacturers have listed them  
8 as both spas and swim spas because it was confusing  
9 on how to address that issue.

10           Next slide, please.

11           [Next Slide]

12           This here is just a snippet of the label.  
13 And I guess looking for clarification maybe after  
14 presentation briefly on the language that was in the  
15 report here.

16           So we have removed the "based on testing"  
17 statement and simply put in this spa was tested to  
18 the spa manufacturer's specified cover.

19           And if that is the label change intent, I  
20 think that's simple enough and we can update the  
21 APSP-14 label to reflect that. That's easily done.

22           I do want to bring up that the covers  
23 themselves, we need to be careful on this in that the  
24 intent on the label in APSP-14 was to list basically  
25 all the compliant covers whether they be from

1 different manufacturers or not, as well as the tested  
2 cover. And this is a whole other discussion on  
3 managing this, because not everyone produces covers  
4 and many people buy them separately at the point of  
5 sale, so this is going to be a challenge in terms of  
6 getting the right cover on the right spa, or allowing  
7 new or different innovative covers to be applied to  
8 this. And we'll maybe pick this up in comments.

9 Next slide, please.

10 [Next Slide]

11 So a recommendation on some spas from the  
12 APSP-14 perspective is we want to go back or at least  
13 mention the thought of getting all the spas in the  
14 database and taking the time to review them, and then  
15 readjust that baseline energy savings curve there.

16 And so we request at this time to give us  
17 more time to review all this and work with the  
18 different groups involved and the stakeholders to get  
19 the proper information in there and get the test  
20 criteria exactly the way that everyone needs it to be  
21 to get that done.

22 Next slide, please.

23 [Next Slide]

24 So I want to briefly touch on temperature  
25 inflatable spas. As you can see, they're basically

1 what it says. It's something you'd roll out, fill up  
2 with air and use for a little while.

3 Next slide, please.

4 [Next Slide]

5 So what these are, these are lightweight  
6 inflatable units, so similar to the little popup  
7 pools you'd have in the backyard or something to that  
8 effect. This is an extension of that product.

9 A small unit. Basically, you can go to  
10 Walmart and pick them up, or a big box retail.  
11 They're small. You can even throw them in the mail.

12 They're relatively inexpensive.

13 You can inflate it onsite. You fill them up  
14 with hot water, or fill them, they heat, they run.

15 They're typically used as a temperature  
16 product, so used in the spring, in the summer. You  
17 wouldn't necessarily have it out in the winter or  
18 year round when it's less desirable.

19 And again, it's kind of a popup and a tear  
20 down unit, so easy to disassemble, store down  
21 wherever you want.

22 And then finally, they are vinyl lined vinyl  
23 units, and lifetime on these are typically three  
24 years, if you're lucky. Otherwise, maybe less even,  
25 just depending on construction and how they're abused

1 in use.

2 Next slide, please.

3 [Next Slide]

4 So kind of a comparison between the two  
5 products.

6 On the left we have the inflatable units, on  
7 the right the factory-built portable electric spas.

8 The inflatables are small, come in a little  
9 box, you assemble onsite. Basically blow them up.

10 Whereas you've got the rigid portable spas  
11 need to be truck delivered, potentially craned into  
12 the yard. They are build with rigid materials and  
13 typically foamed in different manners to be very  
14 efficient.

15 Whereas this little guy here is out of the  
16 box. You pull it out and you make it work.

17 Next slide, please.

18 [Next Slide]

19 This is kind of as a clear simple  
20 differentiation slide here. We've got lifespan of the  
21 two is significantly different.

22 The usage pattern is temperature inflatable  
23 version versus permanent year round usage on the  
24 other.

25 Different in weights and sizes.



1           They're picked up. They're sold at different  
2 channels in terms of inexpensive at big box and you  
3 pick it up in your car versus something you buy at a  
4 dealer or something else of that effect.

5           They're all typically plug-and-play. You  
6 plug them into the wall and away you go.

7           Very portable and very storable. And so  
8 they're a little different.

9           Next slide, please.

10          [Next Slide]

11          So this product, it never came up in the  
12 APSP-14 discussions as something that we've had and  
13 discussions within committee and discussions with the  
14 CEC and the other stakeholders in this.

15          So there's no metrics for it in terms of how  
16 it's working. There's no test data for us to  
17 understand how it's going to work.

18          And there's a lot of different things.

19          The temperature nature of it may not really  
20 reflect the energy savings that are projected. And I  
21 see the slides earlier didn't really show energy  
22 savings for these.

23          But it's not the same and I don't think we  
24 can apply the same portable standards to it because  
25 it's a different product and there's really no data

1 on that.

2 Next slide, please.

3 [Next Slide]

4 And that's more or less what I just covered.

5 Short life. Different animal.

6 Next slide, please.

7 [Next Slide]

8 So the recommendations on this one is APSP-  
9 14 is working with the inflatable manufacturers right  
10 now looking at these products to addition to the  
11 APSP-14 standard. These would be a different  
12 classification of product and we would probably take  
13 these as a separate class with separate test  
14 requirements and perhaps a separate energy  
15 requirement as well.

16 The way that the energy limit is currently  
17 applied to these in the study here, they cannot meet  
18 that, simply. So we would then be removing them from  
19 the market if this was applied to them, the new  
20 language.

21 So at this point we request time to work  
22 with CEC and the shareholders to review this product  
23 line and create a more feasible plan for these so  
24 that we can get the energy statements for this class  
25 but still allow this class to be sold.

1 Thank you very much.

2 [End Presentation]

3 MR. FISCHER: Thanks, Mike. Will Angelo be  
4 speaking?

5 MR. MCCAGUE: I don't believe Angelo, he was  
6 tied up in an emergency event that came up so he  
7 won't be on the call.

8 MR. FISCHER: Okay. Thank you for your  
9 comments.

10 Just to clarify. So in our current proposal  
11 we plan to keep the 87 degrees for the test for the  
12 exercise spas. But you are right, we are still  
13 considering whether they should still be covered and  
14 should have a separate standard. But Thank you for  
15 your comments.

16 So next we have, I want to invite Jess Tudor  
17 from Coverplay.

18 MR. TUDOR: Hello. I'd like to thank the  
19 people that have gotten me involved in this project  
20 for the last eight years, most notably Mr. Gary  
21 Fernstrom. Seems that he and I have conferred a  
22 couple of times a year ever since and we're looking  
23 forward to our tenth anniversary together, I think.

24 Other people involved, Betty Chrisman,  
25 Harinder, Ken Rider, Sean Steffensen and Ben Fischer.

1 These are people that are new to me but certainly  
2 want to get to know them.

3 A little background on me is I'm a product  
4 developer and manufacturer. We make cover removal  
5 systems for the portable spa industry, and one that's  
6 safe. It's a forward fulcrum appliance and it  
7 actually attaches to the back of the spa cabinet and  
8 allows the cover to sit in a low trajectory so that  
9 it doesn't fall back unwarranted on the bather. It's  
10 a pretty important feature if you've got kids or a  
11 reckless neighbor.

12 Anyway, that was 18 years ago. And  
13 subsequent to that I watched the spa cover become the  
14 biggest problem in the industry. And now there's  
15 legislation here in California -- even though I live  
16 I live in Oregon, I still feel a California residency  
17 here. You guys are very close to us.

18 That California wants to resolve this issue  
19 with the portable spa. And I agree it's overdue,  
20 particularly in the wake of the Cal Poly test that  
21 happened in 2008, which I don't know how many of the  
22 people here know about that test, but certainly in  
23 2008 out of the 27 spas that were tested, 65 percent  
24 of them were noncompliant for sale in California that  
25 year, even though the regulation was in force.

1           My particular entry, the Coverplay entry  
2 number V in that test was clearly the runaway winner  
3 by up to 75 percent more energy efficient.

4           It did prove beyond a shadow of a doubt that  
5 we can make spas more energy efficient because there  
6 are other people with my same skill that could be  
7 able to bring the spa under control, but I don't  
8 believe that anyone decided to change the cover back  
9 in those days.

10           In fact, even though we showed that a single  
11 hinge cover was much more energy efficient, the dual  
12 hinge cover has been pervasive for the last eight  
13 years in the wake of that test.

14           There was a subsequent test that I was  
15 authorized to do by PG&E through Gary Fernstrom in  
16 2010, so we did a winter test in 2009 and 2010 to  
17 reflect the energy efficiencies and inefficiencies in  
18 an outdoor environment, the ambient. And that was  
19 more compelling.

20           We tried to make everything standard. We  
21 used six different manufacturers' spas, and we saw  
22 the differentials there were dramatic in an outdoor  
23 environment.

24           But one of the reasons that we knew that  
25 outdoors was going to be more compelling is because

1 there's an evaporation as an issue and it's something  
2 that I term the chimney effect, which is heat that  
3 seems to be pretty robust at the hinge.

4           A lot of manufacturers, for whatever reason,  
5 don't believe that that's happening, but we've  
6 actually seen it under some testing situations that  
7 we believe is probably the biggest criminal for  
8 energy efficiency.

9           All that said, we also looked at the foam  
10 board itself, being a hard surface, it has to sit on  
11 top of an acrylic hard surface. Because it sits on an  
12 acrylic hard surface, those two hard surfaces really  
13 aren't very malleable so they don't really want to  
14 come together very well and they can have a lot of  
15 gaps.

16           Those gaps, obviously, are somewhat  
17 concealed behind what's called a skirt. And I think  
18 up until now most people think that a skirt has some  
19 insulating property. It's made of vinyl so it has  
20 none, it's a petrochemical.

21           So really, I think what it does it obviate  
22 the obvious. There's steam leaking around the top  
23 surface of the spa. And in that vein, that has not  
24 been addressed either.

25           So what I've been trying to do is to market

1 our product, the air frame, which is a chambered air  
2 technology with radiant barriers and a perimeter  
3 barrier seal and a single hinge compression closure  
4 that offers much more energy efficiency and reflects  
5 the same design that we used in 2008 and in 2010.

6 Most notably, when the weather gets very  
7 cold, the typical spa cover, the foam cover, gives up  
8 more energy readily because of the very, very cold  
9 nature of the evaporation. And we've seen that quite  
10 (inaudible) and made reports on that, and certainly  
11 submitted them here to the CEC.

12 I think that you guys have those records for  
13 the test unit.

14 One of the things that I've discovered with  
15 the foam cover along the way is that there is an  
16 obnoxious smell associated with it when you open it,  
17 and a lot of people have noticed that even though  
18 they get water heavy.

19 This is a serious concern because it's  
20 probably something to do with volatile organic  
21 compounds. And certainly that looks to be the case.  
22 So we've done pretty much an extensive study looking  
23 into this very product.

24 And the manufacturers of polystyrene,  
25 expanded polystyrene itself, don't recommend that the

1 product be in the same general vicinity as a strong  
2 oxidizer.

3           That's unfortunate because most people  
4 recognize that a portable spa uses very strong  
5 oxidizers including chlorine, bromine, hydrogen  
6 peroxide, ozone. These are terrible things when you  
7 have chemicals in the same presence, which could be  
8 PVC, polyvinyl chloride, the very vinyl skin that  
9 covers this Styrofoam.

10           So these issues are very critical in that  
11 anyone who has had a spa for more than two years has  
12 recognized the fading to the bottom part of the  
13 scrim. That fading is there because the oxidizers are  
14 attacking it aggressively.

15           Well, what happens when all of that reaches  
16 the atmosphere; i.e., the vapor that's actually  
17 hovering across the top of the spa.

18           People breathe it. It's transdermal, so if  
19 it drips in the water it'll pass right into your  
20 skin.

21           There's so many different maladies today in  
22 American it's really hard for us to nail down which  
23 one of these particular compounds, including the VOCs  
24 that we're subjected to all the time, are actually  
25 the cause for these maladies.



1           But evidence seems to be pointing that we  
2 don't need another one. And I would suggest that if  
3 the CEC was going to make a ruling, we should at  
4 least follow the energy efficiencies of the air frame  
5 cover.

6           And on top of that, the compelling evidence  
7 is that we should stop using expanded polystyrene for  
8 a heated spa.

9           It turns out that none of the evidence that  
10 I'm talking about really reflects on a cold spa if  
11 it's just sitting outdoors and it's not sanitized.  
12 That does seem to be stable and Styrofoam is probably  
13 okay for that use.

14           So if you have an ice chest at home that  
15 doesn't get warm and you're not going to put a hot  
16 beverage in it and drink out of it, you're probably  
17 okay.

18           But we have seen so much evidence and there  
19 is so much available on the Internet, if anybody were  
20 to look it up they would be surprised about how bad  
21 it is.

22           There are over 200 cities in America today  
23 that currently outlaw EPS form for food containers  
24 and beverage containers. There are governments, there  
25 are countries that are outlawing it. This is

1 compelling evidence, we think, for us to stop using  
2 it.

3 I've had the luck of having eight U.S.  
4 patents in my life, and some of them directly reflect  
5 on this industry, not the least of which is one that  
6 was just released about three weeks ago regarding the  
7 air frame cover.

8 So I'm willing to license this idea to  
9 others following along in the path of Elon Musk, who  
10 has developed the Tesla motorcar. Anyone who's  
11 willing to make these covers, we're certainly willing  
12 to help them, train and teach them how to do this.

13 It's a very simple operation, needs about  
14 400 square feet and doesn't require any heavy  
15 equipment.

16 So what I would like to do today, certainly  
17 have plenty of information here that I can provide  
18 the CEC, and I'm willing to do that, and all these  
19 different tests and reports that we've garnered, and  
20 I would like to work with people here in figuring out  
21 how we can resolve this problem.

22 What this country doesn't need is another  
23 11,000 covers -- and this particular state, by the  
24 way -- 11,000 covers being buried this month again,  
25 and another 11,000 covers coming in from Mexico with

1 different grades of ability to insulate.

2           So without any controls in place it's very  
3 difficult to be able to manage portable spas or to  
4 cause any one particular company to adhere to a  
5 standard when it seems like the cover seems to be the  
6 very criminal that's causing all this waste.

7           So I appreciate the time today and certainly  
8 look forward to following up.

9           Thank you very much.

10           MR. FISCHER: Thank you, Jess. If there's  
11 any data you have that you can provide that supports  
12 all of what you said, that would be awesome. I know  
13 you just said that you have some stuff that you  
14 brought here, so thanks again.

15           Moving from the formal presentations to the  
16 comments now. I just have one blue card here right  
17 now, so if there's anyone else who wants to turn one  
18 in, please do so. Right now I want to bring up Meg  
19 Waltner again from the NRDC.

20           MS. WALTNER: Thank you. Meg Waltner from  
21 the National Resources Defense Council. I want to  
22 start by thanking the CEC staff for their work on  
23 this proposal.

24           In general, NRDC supports the proposals for  
25 updated standards for portable electric spas as well

1 as the labeling requirement.

2 I think the graph that was shown during the  
3 presentation tells a good story of just the range of  
4 standby wattages at all different capacities that  
5 currently exist in the spa market. It shows that  
6 there's room for both an updated standard and also  
7 that consumers could benefit by getting information  
8 about the efficiency of spas when they're purchasing  
9 a spa.

10 We think that the standard levels proposed  
11 are achievable and, as the data shows, will provide  
12 large energy savings, consumer savings, and emissions  
13 reductions.

14 In terms of spa covers, we support the IOUs  
15 proposal to require that the spa be sold with the  
16 cover that it's tested with and interested in working  
17 with stakeholders in how to make that workable. We do  
18 think it's very important that spas are sold with  
19 covers.

20 Thank you.

21 MR. FISCHER: Thanks, Meg.

22 It looks like Gary's got a comment.

23 MR. FERNSTROM: Thank you, Ben. Gary  
24 Fernstrom for the California Investor Owned  
25 Utilities.

1           We'd like to agree with Jess Tudor that  
2 certainly covers are an important and integral part  
3 of the spa with respect to energy efficiency.

4           The spa body most certainly outlives the  
5 life of the cover, so looking forward we would  
6 encourage the CEC to consider some test procedure  
7 metric regulation for spa covers, particularly being  
8 sold into the retrofit market.

9           With respect to new spas, I'd like to  
10 address how the cover aligns with the compliance  
11 enforcement regulations of the California Energy  
12 Commission.

13           So as I understand it, in order to be sold  
14 in California, and for that matter, the primary  
15 criteria with respect to determining compliance is  
16 the fact that manufacturers need to submit  
17 performance information to the CEC's appliance  
18 database.

19           The test procedure and the metric requires  
20 that the spa and cover be tested as an integral unit.  
21 If the spa is sold without the cover that it was  
22 tested with, it is simply not compliant, because the  
23 proper report for its performance was not made.

24           So if spa manufacturers, or cover  
25 manufacturers for that matter, wish to offer choices

1 of different covers with the spas they sell, it's our  
2 opinion that they must be tested and reported with  
3 those alternative covers, and then the combination of  
4 spa and cover would appear in the database, and  
5 therefore, would be deemed compliant.

6 If that's not the case, it does not seem to  
7 us that the product could be deemed compliant, and  
8 would therefore be in violation of the regulations.

9 Thank you.

10 MR. FISCHER: Thanks, Gary.

11 So I don't have any more blue cards, so  
12 looks like -- oh, Chad, do you have a comment?

13 MR. WORTH: This is Chad with the Investor  
14 Owned Utilities. I had a clarifying question, Mike,  
15 on your presentation.

16 The data for the exercise spas that has been  
17 submitted, I notice there's a number of them actually  
18 even submitted in the last month or so, was that that  
19 tested to 100 degrees or 85 degrees?

20 And I guess where given that the exercise  
21 spas were in the 2011 standard and the 2014 standard,  
22 how have those been tested and submitted thus far?

23 MR. MCCAGUE: This is Mike, can you hear me?

24 MR. FISCHER: Yes.

25 MR. MCCAGUE: Yeah, I can't answer to that

1 exactly as I don't know what the manufacturer did.

2 My assumption would be that they would have  
3 been tested to the Title 20 102 temperature to that  
4 standard test. That would be my assumption is that it  
5 would have been tested to the requirements.

6 The APSP-14 language is different and that's  
7 kind of the gray area there that we were hoping to  
8 get through in this new phase of the update. But I'm  
9 assuming it's done to the 102 per the law.

10 MR. WORTH: Thank you for that  
11 clarification.

12 MR. FISCHER: Okay, if that's it, we will  
13 move on to Kristen if there aren't any people wanting  
14 to comment online.

15 So before I end, I just want to provide a  
16 quick opportunity for anybody in here.

17 So I heard mentioning that some spa units  
18 can be sold without the cover during the test as we  
19 have been worried about. How often is this? Is this  
20 prevalent when units are purchased? Are covers  
21 separately? Does anybody have any feedback directly  
22 on that?

23 MR. FERNSTROM: This is Gary for the  
24 California IOUs. A spa sold without a cover, in our  
25 opinion, would not be in compliance with the

1 regulations.

2 MR. FISCHER: It looks like no one. Oh, we  
3 have a comment online.

4 MR. MCCAGUE: This is Mike McCague. In  
5 regard to the covers, as Gary pointed out, all of the  
6 spas would be sold with covers. There's no way they  
7 would meet the requirement.

8 In comment to the issue of the covers going  
9 with the spas, in many cases for shipping purposes  
10 the manufacturer may test the spa with a cover.

11 When those spas are sold and they get  
12 shipped to a particular dealership in California, the  
13 dealership would then get the covers either directly  
14 from the spa manufacturer, which is rare, most don't  
15 make their own covers, or they would order those  
16 covers directly from one of the multiple cover  
17 manufacturers out there to then sell with the spa.

18 I think it would be very unlikely for  
19 someone to sell a portable electric spa without a  
20 cover just because of the evaporation rate. It  
21 wouldn't make sense and I doubt that's very common in  
22 the market today.

23 MR. FISCHER: Okay. So just to clarify,  
24 Mike. The responsibility is on the seller to have the  
25 cover come with the unit?



1           MR. MCCAGUE: It's at the point of sale that  
2 there must be a cover. And in some cases it's not  
3 feasible for someone who works and produces in New  
4 Jersey, for example, to buy a cover produced in  
5 California and have it shipped to New Jersey and then  
6 ship it back to California.

7           So in many instances they'll come together.  
8 They'll be purchased separately at the dealership  
9 level, and then at the point of sale the two would be  
10 sold together.

11          MR. FISCHER: Okay. Thanks.

12          MR. MCCAGUE: Very different scenarios  
13 across different groups of how they do that.

14          MR. FISCHER: Okay, thanks, Mike.

15          Anyone else in the room or online?

16          Okay. Well, that concludes the public  
17 comment section of the portable electric spa portion.

18          MS. DRISKELL: Okay, thanks, Ben. That  
19 actually also concludes this meeting.

20          Some reminders from what I've heard today.

21          There was a lot of input during both  
22 discussions on, mostly in the pool pump discussion,  
23 on the data in our database not being up to date.

24          That burden is on the manufacturer to make  
25 sure that database is up to date, not on us, so

1 please make sure you update your information so that  
2 it's accurate, and that way we can use it for both  
3 this proceeding and as we do our compliance and  
4 enforcement efforts at the Commission.

5 Any additional data on both sides, please  
6 make sure you submit them in writing so we can  
7 evaluate it and incorporate that feedback into our  
8 revised staff report.

9 Are there any other comments, questions, in  
10 the room before we adjourn? Seeing none, thank you  
11 everyone. Thank you for your attendance today, we  
12 really appreciate it.

13 (Adjourned at 12:37 p.m.)

14 --o0o--


15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of March, 2016.

  
\_\_\_\_\_

PETER PETTY  
CER\*\*D-493  
Notary Public

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of March, 2016.



---

Terri Harper  
Certified Transcriber  
AAERT No. CET\*\*D-709