

BEFORE THE  
CALIFORNIA ENERGY COMMISSION

In the Matter of: ) Docket No. 14-BSTD-01  
)  
2016 Title 24, Part 6, )  
Building Energy Efficiency ) RE: 2016 Building Energy  
Standards Update ) Efficiency Standards

LEAD COMMISSIONER WORKSHOP  
UPDATE OF TIME DEPENDENT VALUATION AND  
LIFE CYCLE COST METHODOLOGY

CALIFORNIA ENERGY COMMISSION  
HEARING ROOM A, 1516 NINTH STREET  
SACRAMENTO, CALIFORNIA

WEDNESDAY, July 9, 2014  
9:00 A.M.

Reported by:  
Peter Petty



APPEARANCES

Commissioner Present

Andrew McAllister, Energy Efficiency Lead Commissioner  
Pat Saxton, His Advisor  
Robert Weisenmiller, Chair

Staff Present

Joseph M. Loyer  
Mazi Shirakh

Consultants

Eric Cutter, E3  
Brian Hori, E3

Also Present (\*Via WebEx)

Robert Raymer, CBIA  
Randall Higa, Southern California Edison  
Matthew Plummer, PG&E  
Marshall Hunt, PG&E  
Michael Day, Beutler Energy Services  
Jon McHugh, McHugh Energy  
\*George Nesbitt, HERS Rater

**I N D E X**

|                                     | <u>Page</u> |
|-------------------------------------|-------------|
| <b>WELCOME</b>                      |             |
| Joe Loyer, CEC                      | 5           |
| Commissioner Andrew McAllister, CEC | 6           |
| Chair Robert Weisenmiller, CEC      | 7           |
| <b>PRESENTATIONS</b>                |             |
| Background: Joe Loyer, CEC          | 10          |
| Eric Cutter, E3                     | 15          |
| Brian Hori, E3                      |             |
| <b>COMMENT LETTER</b>               |             |
| Matthew Plummer, PG&E               | 45          |
| Marshall Hunt, PG&E                 | 74          |
| Adjournment                         | 101         |
| Reporter's Certificate              | 102         |
| Transcriber's Certificate           | 103         |

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

P R O C E E D I N G S

JULY 9, 2014 9:10 a.m.

MR. LOYER: Good morning, I'm Joe Loyer. Welcome to the California Energy Commission. First and foremost, we have a few housekeeping items before we begin. We are recording this conference, we have both a recording on the WebEx and we have a Court Reporter here. If you're going to comment, please give the Court Reporter a card or the spelling of your name.

For those of you who are not familiar with the building, the closest restrooms are located just outside the doors here on the left, the snack bar is on the second floor under the white awning, well, mostly white awning. Lastly, in the event of an emergency and the building is evacuated, please stay out of my way, I'll go first, and you can follow the rest of our employees over to the park over here and we will convene over at the Roosevelt Park located diagonally across the street from this building. Please proceed quietly, calmly and, again, follow the employees with whom you are meeting and safely exit the building.

We're going to go quickly, as we do have

1 a bit of a time crunch. I'm going to do a basic  
2 introduction here. We will then talk about the  
3 background of Lifecycle Cost Analysis and Time  
4 Dependent Valuation. Then we will have E3 do  
5 their presentation on the new TDV for 2016. And  
6 then we will have response to comments. We did  
7 receive one comment letter from PG&E and they are  
8 here to give voice to that comment.

9           So with that, I'm going to go to  
10 Commissioner McAllister. Do you have anything  
11 you'd like to say before we get going?

12           COMMISSIONER MCALLISTER: Yes. Thank  
13 you, Joe. And thanks everybody for coming. You  
14 know, this is a highly specialized discussion. I  
15 think of TDV as sort of the most important, least  
16 understood item, I think, one of them at least in  
17 State Energy Policy. It is important, it is  
18 foundational work, it is kind of where the actual  
19 electricity grid that we have in the state today  
20 and all of the investments that have been made on  
21 it kind of where the rubber hits the road for our  
22 Clean Energy Policies in many many ways. So how  
23 we value energy for a variety of purposes is  
24 highly technical and necessarily reductive. We  
25 were talking about this a little bit before the

1 session where, you know, you're reducing a lot of  
2 stuff to one number, or to a few numbers, you  
3 know, 8760 numbers maybe, but still it's  
4 reductive in a way that belies, I think, its  
5 complexity. But it is really important to get it  
6 as close to right as we can because these numbers  
7 carry through to many locales, in particular how  
8 we value Building Standards and Appliance  
9 Standards, and future energy savings, but a  
10 variety of other things, as well.

11           One point I want to make today is that  
12 the PV valuation is not part of our analysis this  
13 year, there's a record still being developed on  
14 that, it's actually got a lot to do with both  
15 Commissions here at the Energy Commission, but  
16 even more so over at the Public Utilities  
17 Commission. There's a lot of discussion about  
18 the sort of net metering 2.0 and where you draw  
19 the boundaries around DG, generally. So that's  
20 something that will happen at a future date, but  
21 it's not part of this analysis for this TDV  
22 update.

23           But the play by play here is extensive  
24 and we're coming to the latter stages of it, and  
25 I want to just thank staff, Joe, for leading, and

1 I know E3 has been doing a lot of work on this,  
2 and all the stakeholders including the utilities  
3 and others. It's actually -- for us policy  
4 wonks, it's actually very exciting work. I know  
5 that's kind of sad to say, but it is something  
6 that is extremely relevant in California given  
7 all the policies that we're trying to implement  
8 and the technologies that are coming about, the  
9 business models and just the morphing of the  
10 electric system sort of as we watch it sort of in  
11 very tight cycles these days. So TDV is kind of  
12 near the middle of that discussion, or those  
13 discussions, and it's an important item. So I'm  
14 happy to be here and really thankful of all the  
15 work that's gone into this, and certainly  
16 encourage all the participation that people can  
17 muster on it. And I'll acknowledge my Advisor,  
18 Pat Saxton, is to my left here, who has also been  
19 very engaged on this with staff. And I'll pass  
20 it to the Chair for any comments he would like to  
21 make.

22 CHAIRMAN WEISENMILLER: I'd like to again  
23 thank the staff for their work on this, thank  
24 everyone for their participation. Looking at the  
25 overall arc of the Energy Commission, we've been

1 doing Building Standards since '78, at least Bill  
2 Pennington and I were around at least on Day One  
3 in these things, and we're going to continue  
4 doing those roughly every three years. We have  
5 implemented one round now, as of July 1st, we're  
6 now working on the next round for 2016. And as  
7 Andrew has said, or Commissioner McAllister, at  
8 this point we're really trying to go through this  
9 process, get these cleaned up, move on to the  
10 2016, and clear the ground to start thinking  
11 about 2019 and Zero Net Energy. And so I know  
12 that's going to be a big issue in that 2016-2019  
13 period. Obviously the basic message is we're not  
14 really going to dig into that today, a lot of the  
15 issues. I think this is a marvelous tool. I  
16 think a very clear direction for the Legislature  
17 is that our Standards have to be cost-effective  
18 on lifecycle basis, you know, and we've always  
19 strived for that. And having said that, this is  
20 our tool to make that determination.

21 As someone who has done these sorts of  
22 forecasts of value of power for decades, I can  
23 say if you do it long enough you acquire some  
24 humility in terms of there's a very wide range of  
25 uncertainty, particular the people doing it love



1 to dig into the nits and stuff, but the bottom  
2 line is there's a lot of uncertainty. Certainly  
3 when you look back on it, you're always going to  
4 find the forecast is never correct. But I think  
5 these results seem to be fairly robust, it's not  
6 like we're at a situation where, you know, a  
7 whole bunch of things in the Standards are going  
8 to live or die, depending on exactly what we do  
9 on going about say, okay, should we be using  
10 effective load carrying capacity. Nothing is  
11 going to live or die on that; obviously we all as  
12 analysts have pride in our work and are trying to  
13 get that just right, but at some point it's going  
14 to be important just to move on, you know, and  
15 make sure that we've got -- I think we're  
16 certainly both committed for the 2016 to have a  
17 smoother rollout going forward, you know,  
18 training packages, everything much more placed  
19 timely, and certainly not to go through a delay.  
20 So again, part of this process is let's make sure  
21 it's good enough, let's move on, but let's make  
22 sure we get the pieces in place for a very smooth  
23 rollout in 2016. Certainly, thanks for your  
24 participation today.

25 MR. LOYER: Thank you, Commissioners.

1 This is Joe Loyer again. I'd like to remind  
2 everybody that these presentations that you'll be  
3 seeing will be available online under the  
4 appropriate website at the Energy Commission. We  
5 have there now the TDV that we are presenting  
6 today, hopefully for accepting, I remind  
7 everybody again that we are not actually adopting  
8 the TDV at this workshop, we are simply  
9 presenting it in its final form, and more or less  
10 closing the door on TDV and moving forward. It  
11 is a foundational document, it is foundational to  
12 the standards, it's what we use to determine  
13 cost-effectiveness.

14 So with that, I'm going to jump straight  
15 into hopefully the right presentation here.  
16 Yeah, very good. Okay, this is just essentially  
17 a background on where we are in our 2016 Update  
18 process. We have a quick discussion of  
19 Authorities and Standards Update Policy Drivers,  
20 and the Standards Update Process, 2016 Standards  
21 Update Schedule, and the Lifecycle Costing and  
22 Time Dependent Valuation. We get our authority  
23 from the Public Resources Code, this is the  
24 Warren-Alquist Act, essentially, and we can see  
25 here that we have Residential and Nonresidential

1 Building Standards since about 1978 and updated  
2 every three to four years thereafter. The  
3 Standards are required to be cost-effective, they  
4 include both mandatory and proscriptive  
5 requirements, as well as a performance approach.  
6 The Standards are always developed in an open  
7 public process which is part of that process, we  
8 are currently in the pre-rulemaking phase.

9 We have policy drivers from the Governor,  
10 so the latest one being the Governor's Clean  
11 Energy Jobs Plan, the Zero Net Energy Residential  
12 by 2020 and Nonresidential by 2030, the CARB  
13 Climate Change Scoping Plan, the California Long  
14 Term Energy Efficiency Strategic Plan, as well as  
15 others.

16 We are currently, as I said, in the pre-  
17 rulemaking phase. We've had stakeholder  
18 meetings. Right now I have highlighted here in  
19 yellow that we are in staff workshops, Draft  
20 Standards; that is, we are currently having other  
21 workshops, as well as this TDV Workshop.  
22 Eventually we will get to the formal rulemaking  
23 where we will have 45-day language, 15-day  
24 language, and an adoption. This is our current  
25 schedule right now, you can see that we started

1 in April, early in April. We are in the May to  
2 August timeframe as is highlighted here with  
3 Public Workshops. We plan to be finished with an  
4 effective date on January 1, 2017, but we will be  
5 adopting these standards after the 15-day  
6 language has had its 15 days at the May 2015  
7 Business Meeting.

8           This is the Schedule of Workshops. You  
9 can see that July 9th we are here in Hearing Room  
10 A doing the TDV LCC Workshop, we have  
11 approximately three workshops left which we  
12 should wrap up in early August. The Standards  
13 and Measures, using lifecycle cost analysis, we  
14 use a discounted cash flow for costs and  
15 benefits, it accounts for maintenance and cost  
16 benefits, appropriate discount rates, we use  
17 three percent. We use 30 years for residential,  
18 15 years for nonresidential. The Time Dependent  
19 Valuation is a value hour by hour of propane,  
20 natural gas, and electricity as it changes during  
21 the day, during the seasons. There are 8,760 TDV  
22 multipliers for each hour, one for each hour of  
23 the year, and the TDV actually favors saving  
24 energy during high demand periods.

25           And that is all for that. That didn't

1 take very long, did it? Moving right along into  
2 the background for the LCC, so why the Energy  
3 Commission uses least cost method, and what we  
4 did in the least cost method before TDV, adding  
5 TDV, and how TDV is developed, and the basic  
6 changes from 2005 to 2013. This again is the  
7 Warren-Alquist Act. The TDV is actually fairly  
8 simple, or the Life Cycle Cost is fairly simple.  
9 It is weighing costs to benefits, that's the  
10 whole approach. It is very simple, but in  
11 concept anyway. And this is done based on the  
12 life of the building, or the life of the measure.

13 Now, the annual least cost method,  
14 basically this was a fairly simple approach. We  
15 looked at the change and initial cost of the  
16 construction. We took the present value of  
17 electricity, cost savings, and the present value  
18 of gas savings, and balanced them against each  
19 other. We used the three percent discount rate,  
20 lifecycles were placed at 15 and 30 years.

21 The benefits with this, this was a simple  
22 multiplier for savings. We ended up with six  
23 multipliers, three for electricity, and three for  
24 natural gas. And at some point we actually  
25 folded in propane as well. This was sufficient

1 to show the measures under consideration were  
2 cost-effective. The benefits for TDV was that it  
3 started to account for seasonal and time of use  
4 differences. So this is based on a time series  
5 of hourly present values for electricity, natural  
6 gas, and propane. So for each hour of the year,  
7 8,760 hours, we had a value of that hour. And we  
8 used those for residential, nonresidential, for  
9 all 16 Climate Zones, so that as 8,760 hours  
10 times 16.

11 The electricity TDV series, we have  
12 natural gas forecasts, we use a transmission  
13 distribution cost, emission cost, ancillary  
14 service, and peak capacity cost, revenue  
15 neutrality adjustments, fixed costs. For the  
16 natural gas, we use the natural gas retail rate  
17 forecast. And for propane, we use the Department  
18 of Energy Propane Retail Forecast.

19 The basic changes from 2005, when we  
20 initially developed the TDV and implemented it,  
21 from the 2008 update, we used the 1999 Power  
22 Exchange Day Ahead market prices, consideration  
23 of avoided customer outages, consideration of  
24 adverse impacts on customers when demand response  
25 is operated. And for 2013, we had correlating

1 weather and load. We used the long term market  
2 price and included renewables, the high retail  
3 rate forecast, and the statewide retail rate  
4 adjustment.

5 And I know I went through that quickly,  
6 but we wanted to actually get to the meat of this  
7 discussion, which is the 2016 TDV. So with that,  
8 gentlemen, are we ready to take over?

9 MR. CUTTER: Yes. Oh, alright, I don't  
10 need to push. Okay, this is Eric Cutter from E3,  
11 I'm sitting next to Brian Hori. We've been  
12 working on the TDV Updates for this 2016 cycle  
13 with Joe and the CEC Team. I'm going to run  
14 through these slides, which are largely an update  
15 from what we presented in April, and I think I'll  
16 go through them fairly quickly, but not too fast,  
17 and we'll leave plenty of time for questions at  
18 the end. I have six buttons to choose from.

19 There we go. Well, the slider works, okay.  
20 So starting off with several introductory  
21 slides to give the overview, the high level  
22 updates from the 2013 TDV update process are when  
23 the 2016 updates is relying on several inputs and  
24 outputs from the Integrated Energy Policy Report  
25 that came available in January and this is a bit

1 of a departure from 2013 where we relied on a  
2 variety of sources, so it's nice that a lot of  
3 the inputs are lining up right down the middle  
4 with IEPR mid case in all respects. That  
5 includes the marginal cost of energy which is  
6 coming from production simulation runs, before  
7 and for the IEPR. Two other major updates since  
8 2013, and we'll go through this in more detail,  
9 incorporating the effective load carrying  
10 capability which decreases the capacity value  
11 over time for PV is one effect, and shifts the  
12 value to later in the evening. And we've updated  
13 the TND marginal costs. So this was also  
14 presented in April. The changes since the April  
15 workshop are, since then, the CEC Cost of  
16 Generation Report was published and we've  
17 included the updated costs of a combustion  
18 turbine which go into the TDV calculations for  
19 the generation capacity value. With that, we've  
20 changed the financing assumptions from what were  
21 presented in April, and added costs for NO<sub>x</sub> for  
22 gas and propane, which is a fairly minor impact.  
23 And then finally, this is just an accounting  
24 convention, really is calculating a value for the  
25 RPS Center, which was really already included in



1 the TDV, but this makes all the components of the  
2 calculation line up nicely with the avoided costs  
3 that are published at the CPUC so we can have a  
4 more direct comparison.

5           And this slide sends you to a reference  
6 if you want to dig into an awful lot of those  
7 updates since 2013 are documented in the Net  
8 Energy Metering Report produced by E3 for the  
9 CPUC, it's on both our website and the CPUC  
10 website, and all the details relevant here are in  
11 Appendix C, which documents all the avoided cost  
12 assumptions.

13           So to skip to the answer first, the next  
14 few charts show the net present value, dollars  
15 per therm, TDVs for natural gas and for  
16 electricity, and how they've changed from 2008 to  
17 2013, and you'll notice here what stands out, and  
18 we'll describe why the 30-year residential is  
19 slightly higher and the nonresidential are  
20 slightly lower than they were in 2013. And the  
21 same goes for electricity.

22           So we're starting off with natural gas  
23 and propane because really, 1) there's been no  
24 updates except the addition of the NO<sub>x</sub> cost since  
25 the April workshop, so these are the same as were

1 presented before. One thing that stood out is  
2 the CEC Natural Gas Forecast from the IEPR shown  
3 here on the graph in the lower red line, is a  
4 fair amount lower than what we've seen in the  
5 past, and so you can see the 2011 forecast, and  
6 we're presenting here not in annual terms, but in  
7 the years out from today because that's really  
8 how it impacts the calculations of a net present  
9 value for the TDV, so you can see the escalation  
10 from the first year to the 30th year in 2011, it  
11 was much higher than it is in the 2013 IEPR. So  
12 that is one of the reasons you're seeing lower  
13 values for the natural gas and for electricity,  
14 particularly in the nonresidential sector.

15           And here show the rate forecasts for  
16 natural gas. We're using Climate Zone 12 as a  
17 representative case, but it's really consistent  
18 across all the climate zones. And one thing you  
19 can note here, the blue line is the residential  
20 rate forecast and you can see it starts out a  
21 little lower. The solid line is 2016 and the  
22 dotted lines are 2013. They start out a little  
23 lower and end up a little higher, but the rate  
24 forecast kind of lines up fairly well with the  
25 2013, whereas for nonresidential which is in the

1 gold, you can see, is lower throughout the entire  
2 forecast. So that's the second reason, and this  
3 is also seen in electricity why the  
4 nonresidential results are lower than 2013,  
5 whereas the residential remain a little bit  
6 higher.

7           The bottom graph shows, again, the dotted  
8 lines, the 2013, and the solid lines for 2016 for  
9 the residential 30-year, nonresidential, and 15-  
10 year nonresidential, as the shape over the season  
11 for the course of the year.

12           Propane is a fairly similar story. The  
13 rate forecasts in this case are both lower than  
14 before with a drop in natural gas prices, and you  
15 can see in the bottom graph all of the TDVs, the  
16 shapes are the same, but they're all lower than  
17 in 2013.

18           So that's it for natural gas and propane.  
19 We'll move on to electricity which, of course, is  
20 quite a bit more involved. Here on slide 12 we  
21 see the similar story for the rate forecast, the  
22 blue line shows that the residential rate  
23 forecast from the 2013 IEPR in this case starts  
24 out higher and ends up a little lower, but is  
25 overall a little bit higher than the 2013,

1 whereas the nonresidential is lower. And a  
2 number of the other updates mentioned on here  
3 we'll go through on the rest of the slide deck.

4           To give you a sense of how the TDs look  
5 over the course of a year, these are the hourly  
6 TDVs, 8,760, and you can see there are quite a  
7 number of spikes that are driven primarily by the  
8 allocation of generation capacity value and TND  
9 capacity value to those peak values of the year.  
10 Looking at a more average representation over 24  
11 hours on average over the year, again, you can  
12 see during the afternoon the light blue is the  
13 TND capacity allocation, then the purple is the  
14 system generation capacity allocation, and we'll  
15 explain later the double hump there, but this  
16 gives you a sense of the perspective of how the  
17 different components contribute to the overall  
18 TDVs.

19           So in looking at these next couple  
20 slides, so the allocation of energy capacity and  
21 TND, so here is the hourly energy component, so  
22 the dollars per megawatt hour cost for wholesale  
23 generation of electricity, and you can see it's  
24 lower in the early morning, lower in the spring,  
25 and higher in the afternoon and in the summer.

1 You see the months are the vertical across the  
2 left vertical axis, and the hours of the day  
3 across the bottom. Much more pronounced are when  
4 we look at the generation capacity allocated to  
5 the afternoon hours and to the summer months,  
6 again, we'll explain the double peak in a little  
7 bit. And the TND capacity is a bit more  
8 homogenous so you can see a big allocation. This  
9 is for Climate Zone 12, it's going to look a  
10 little different by Climate Zone, but generally  
11 it follows this shape.

12           One of the bigger updates has been moving  
13 from an allocation strictly on the top load hours  
14 to an effective load carrying capability to  
15 allocate this cost of generation capacity. This  
16 is again documented in the Net Energy Metering  
17 Report. I'll jump to the next slide, but really  
18 the impact is as we see increasing penetrations  
19 of renewables, but predominantly solar, that is  
20 shifting as you get more and more solar on the  
21 system you're shifting the net load peak to later  
22 in the afternoon, and thus the incremental -you  
23 can see a few effects -- the incremental value of  
24 adding new solar capacity for system generation  
25 declines as you get more and more PV on the

1 system, and you're shifting the peak load to  
2 later in the day eventually when solar is  
3 generating less or not generating at all.

4 MR. HORI: Eric, if you could go back to  
5 that slide. I think it's also worth pointing out  
6 that, while this slide is focused on solar  
7 because that was one of the drivers for ELCC,  
8 when we think about the impacts for the TDVs,  
9 what that's really demonstrating to us is, if you  
10 think about something like commercial HVAC that  
11 has a consumption pattern that's pretty much  
12 summer, mid-day, similar to the solar here, or I  
13 guess I could just say mid-day, similar to the  
14 solar, there's a high cost to providing HVAC now  
15 because of that coincidence with that afternoon  
16 peak. As we get more penetration of renewables,  
17 the peak you can actually see from that first  
18 chart on the left shifting later in the day as  
19 those renewables are essentially eating away the  
20 peak and shifting the peak later. That's going  
21 to mean that when you're looking at something  
22 like commercial HVAC, the cost of providing that  
23 HVAC is actually changing now, it's not as  
24 expensive in the future because it's not as  
25 coincident with your system peak anymore. And so

1 that's one of the things that we're seeing in the  
2 new TDVs as we look at how generation capacity is  
3 shifting later in the day, and actually even  
4 shifting to other months we see a change in the  
5 capacity value and change in the capacity cost.

6           COMMISSIONER MCALLISTER: Can you just  
7 expand on that a little bit? I mean, from this  
8 graph and this Climate Zone, it looks like not  
9 only is it shifting later, but it's also going  
10 down just a touch. And that makes some sense  
11 intuitively. But also, you do have thermal  
12 inertia in buildings and, you know, you do need  
13 HVAC later in the evening after the sun is no  
14 longer producing, so I'm kind of wondering where  
15 now those loads for commercial HVAC, for example,  
16 if the peak is later and you're still using your  
17 HVAC to cool a building after the main sun hours,  
18 so how that lines up.

19           Mr. HORI: Right. I mean, you still will  
20 have, we'll see later, that HVAC still is sort of  
21 the most expensive resource when compared to  
22 something like lighting or compared to other sort  
23 of measures. I'm just sort of pointing out that  
24 we're seeing this shift. So if you had, let's  
25 say maybe it's a building orientation such that

1 it actually had your cooling demands actually  
2 drop off more, maybe because of the window  
3 orientation or the nature of the thermal mass in  
4 the building, then you would see changes for that  
5 building that you wouldn't see under the sort of  
6 current TDVs that don't reflect this change.

7 CHAIRMAN WEISENMILLER: Because normally  
8 you're looking at it from a societal perspective  
9 as opposed to an individual customer, unless  
10 you're assuming the rates actually reflect actual  
11 prices, well, actual value.

12 MR. HORI: Right. When we're looking at  
13 an individual building, when they're trying to do  
14 that trade-off between let's say, you know,  
15 building orientation, window, then you actually  
16 are doing that analysis on a building by building  
17 sort of a customer specific level, so I think  
18 that's where you would see this.

19 CHAIRMAN WEISENMILLER: But again, your  
20 economics is based upon societal as opposed to  
21 retail rates. Right?

22 MR. HORI: Well, it's interesting, it  
23 really is a hybrid --

24 CHAIRMAN WEISENMILLER: Okay.

25 MR. HORI: -- so we start out with the



1 societal costs as the main -- which is what Eric  
2 has been showing, but then I don't know if Eric  
3 mentioned, but in that graph we also do have that  
4 little retail rate adder that we add on, so we  
5 get it up there to be consistent with the Warren-  
6 Alquist of consumer perspective.

7 CHAIRMAN WEISENMILLER: Okay. But do you  
8 differentiate between the adder because  
9 commercial and residential?

10 MR. HORI: Yes, we have different adders.

11 CHAIRMAN WEISENMILLER: Okay, good.

12 COMMISSIONER ANDREW: That's good. I  
13 mean, I guess it's worth pointing out, maybe this  
14 is self-evident, but just to put some finer point  
15 on the Chair's observation here that TDV is about  
16 the societal value, and we disaggregate it in  
17 ways that we have the kinds of information that  
18 will let us make it geographically specific for  
19 society, right? But the weight making that is  
20 actually the true representation of the cost of  
21 energy to the customer, and the TDV societal  
22 value for all sorts of reasons that we don't need  
23 to go into, don't always match up. And so that's  
24 a bit of a challenge for sort of making sure that  
25 the societal and the policy drivers here are

1 translated in a way that's faithful over to the  
2 customer and it's a challenging difficult thing  
3 to do, but we're talking about here the societal  
4 value and that's what TDV is meant to  
5 communicate.

6 CHAIRMAN WEISENMILLER: Yeah, I mean, I  
7 don't think I've ever seen a case where the  
8 marginal costs actually match revenue requirement  
9 without some scale up or down.

10 MR. HORI: And thankfully, if you look at  
11 this chart, the retail rate adjustment, you know,  
12 it's fairly significant, but you know, it's not  
13 more than half of the total TDV value. And  
14 you'll see that it's not sort of suppressing the  
15 time value of the underlying of what it costs.

16 CHAIRMAN WEISENMILLER: Uh-huh.

17 MR. CUTTER: So another way to look at  
18 this graph is all the components from the top  
19 down are the societal value that you're speaking  
20 of, and then the last component there on the  
21 bottom, the rate adjustment, is putting those  
22 through the utility rate, making process to  
23 represent the total cost from a customer  
24 perspective.

25 CHAIRMAN WEISENMILLER: Yeah, again, it's

1 like the scaling factor when you're doing rate  
2 design.

3 MR. CUTTER: Yeah.

4 COMMISSIONER MCALLISTER: Is that a truly  
5 straight line on top of the light blue at the  
6 bottom? Or has that got an hourly component?  
7 It's kind of hard for me to tell.

8 MR. HORI: The rate adjustment is a truly  
9 straight line, as is the RPS --

10 COMMISSIONER MCALLISTER: Yeah, so that's  
11 re-scaler.

12 MR. HORI: Okay, coming back to ELCC, I  
13 think we've covered, we've talked about this. So  
14 this shows a little bit of the impact we were  
15 just talking about. The top chart is showing the  
16 ELCC, so the updated methodology, but for 2013,  
17 and it looks very similar to what we're used to,  
18 so we're showing the allocation of capacity  
19 across hours of the day for three summer months,  
20 July, August and September, and you can see, you  
21 get a little bit in July, but most of the value  
22 is in August and September and it's concentrated  
23 at the afternoon of hour ended 15:00. If we look  
24 forward to 2020, after we've added a bunch of  
25 renewables and, again, most specifically PV

1 generation, and this includes both solar  
2 generation utility scale and solar generation  
3 behind the customer meter, some distributed  
4 generation, here is where you see the impact of  
5 the net load peak has shifted to later in the day  
6 and to later in the year, so when the sun is  
7 shining more in July and August, we're having a  
8 bit less of the allocation of the capacity value  
9 in September, you're seeing a higher allocation,  
10 and in particular a higher allocation in the  
11 evening hour of hour ending 19:00 after the solar  
12 is no longer generating, but you still have  
13 pronounced cooling load that you were mentioning  
14 in the late evening. And so this shows how the  
15 TDVs will now place more value than before on  
16 load or load reductions in the later evening  
17 hours than in the early afternoon hours from the  
18 prior methodology.

19 Another underlying factor for where the  
20 value is being allocated are we're using the TMY,  
21 Typical Meteorological Year Weather Files and all  
22 the loads that are used to generate the energy  
23 prices and the net loads that are used for  
24 allocating the capacity value are driven in large  
25 part, that is the shape over the year, are driven

1 in large part by these TMY Weather Files, and you  
2 can see the peaks for these weather files are  
3 also occurring. It varies a little bit across  
4 climate zone, but in the Oakland, Los Angeles,  
5 Fresno, and Riverside, actually Oakland and Los  
6 Angeles and Riverside, it's really  
7 August/September is where you've seen the highest  
8 temperatures in Fresno and Sunnyvale, maybe it's  
9 a little earlier in August and July. But we see  
10 for a number of the Climate Zones the peaks are a  
11 little bit later in the year from the Weather  
12 Files than we might have seen earlier. So we're  
13 seeing more value in August and September than  
14 maybe we saw before in July and August.

15 CHAIRMAN WEISENMILLER: Okay, what is the  
16 time period for the Weather Files? Obviously our  
17 climate is being disrupted, so just trying to  
18 figure out how many years back the Weather Files  
19 are averaging.

20 MR. HORI: That's a good question.

21 MR. CUTTER: I wonder if anyone in the  
22 audience knows that. I think it looks at -- what  
23 is it -- 30 years of climatological data to come  
24 up with these, and it was recently updated, I  
25 believe in 2010, to these new files. But I'm not

1 sure exactly what the timing --

2 CHAIRMAN WEISENMILLER: What we found on  
3 the demand forecasts is we used to do like 50  
4 years, and in fact we've scaled it back to 30,  
5 better match with the utilities data and also  
6 better with patterns, but certainly thinking of  
7 climate disruption, then why you would look at 50  
8 as opposed to 30 is because 30 is more  
9 representative of what we're looking at over the  
10 next 30 years.

11 MR. HORI: And one of the reasons we're  
12 showing these charts is it really just surprised  
13 us to have so much of the weight being shifted to  
14 September, and we just wanted to show people that  
15 a lot of that is just because the new Weather  
16 Files are just showing much hotter weather in  
17 September.

18 MR. SHIRAKH: This is Mazi. We did  
19 update the weather files in 2010. I don't know  
20 exactly the years that were covered, but the two  
21 things that happened was, you know, we switched  
22 to the Weather Files, and then in certain Climate  
23 Zones we actually changed the City where the  
24 station where we considered it to be like, for  
25 instance, I think Climate Zone 16 went from

1 Shasta to Blue Canyon, so that also had an impact  
2 on the shape of the load. But Martha Brook would  
3 know in more detail, I can find out the time  
4 period that was covered. We can clear that up.

5 CHAIRMAN WEISENMILLER: That would be  
6 good.

7 MR. CUTTER: Okay, I'll keep going. So  
8 this is showing more on an average level the  
9 temperature effects, and you can see some of the  
10 differences between climate zones and, as we were  
11 just mentioning, there's a general shift with the  
12 update to both later in the year and a little bit  
13 later in the afternoon. And you can see what  
14 these are also showing is how the temperature  
15 from the Weather Files is changing between July  
16 and September, and you can see it most pronounced  
17 in Riverside where we're seeing a peak in July,  
18 but a higher peak in September. And

19 MR. HORI: Well, I think also on that is  
20 just the fact that those higher temperatures seem  
21 to be persisting longer into the evening than  
22 July, and that's another thing that's driving  
23 that later September peak.

24 MR. SHIRAKH: So the years go through  
25 2008, and the beginning year was 1979 to 2008 is

1 the time period.

2 CHAIRMAN WEISENMILLER: That's good, a  
3 relatively short.

4 MR. CUTTER: Okay, so really where this  
5 shows up, and now we'll show you the double-peak,  
6 is we're seeing the current ones on top were all  
7 fairly even throughout the months, and so we had  
8 a single peak. What's happening with both the  
9 ELCC and the Weather Files is this first peak in  
10 the bottom, so this is the current in the red, is  
11 showing a double peak, is two factors, 1) you are  
12 having a peak in September, right, so this is  
13 showing the average over the year, so that later  
14 peak in the hour ending 18:00 to 19:00 is coming  
15 from the September months when we're having our  
16 peak net load in the evening, and the peak in the  
17 hour ending 15:00 is coming from probably the  
18 July months. So when we average this over the  
19 course of the year and over the course of three  
20 years, we end up with this kind of funny looking  
21 double peak, but it's because we're aggregating  
22 the impacts over several months.

23 MR. RAYMER: Can I ask a question about  
24 that?

25 CHAIRMAN WEISENMILLER: Yeah. Just



1 identify yourself on the microphone.

2 MR. RAYMER: Bob Raymer with CBIA. I  
3 understand the double peak, but if you look at  
4 5:00, you've got a very pronounced dip and as  
5 drops go, that's very pronounced. Why is it such  
6 a large drop for that effectively 60-minute  
7 period? Are people in their cars headed home,  
8 or...?

9 MR. CUTTER: So this is seasonal in that  
10 you never have a month -- there's no month where  
11 you have a peak hour ending 5:00 or 15:00, but we  
12 have a month of August here where we have a  
13 pronounced peak at 15:00 and we have a month of  
14 September where we have a pronounced peak at  
15 19:00. And so it's really showing that we have  
16 two months with two different peaks, but we never  
17 have a peak in any month an hour ending five. So  
18 it's a little misleading to show this as one  
19 graph because it's not like we're saying in any  
20 particular day, but it's just that at no given  
21 time in doing this you found one right at, you  
22 know, hour 17:00.

23 MR. HORI: Eric, if you can go back a  
24 couple slides where we show the monthly.

25 MR. RAYMER: I mean, it's very

1 interesting.

2 MR. HORI: I mean, if you look at the  
3 bottom chart there, as Eric was saying, you have  
4 the blue and the red for July and August, which  
5 are causing really that first early peak, and  
6 then September, you know, you do actually see a  
7 little bit of a drop there at 5:00 for the  
8 September shape, and part of that could just be,  
9 you know, just a data sampling because this is a  
10 probabilistic analysis and so that kind of small  
11 drop, you know, I think is partly explained by  
12 just data issues. But if you look at this, it  
13 certainly looks reasonable. It's just I think  
14 when you combine the different months together,  
15 that it looks like a very dramatic nonsensical  
16 drop.

17 MR. RAYMER: Thanks.

18 MR. HORI: Sure.

19 COMMISSIONER MCALLISTER: Just to sort of  
20 try to understand and maybe explain, that's not a  
21 traditional load shape where you're seeing this  
22 incredible discontinuity of behavior between  
23 those two hours, right? This is a sweep of a  
24 marginal effect across all months that sort of  
25 ends up producing that graph. Is that a fair way

1 of --

2 MR. HORI: It's aggregating not even over  
3 just the months, it's aggregating over the 30  
4 years.

5 CHAIRMAN WEISENMILLER: Yeah, right. And  
6 what you also see is an exponential function, so  
7 it would tend to be more volatile than you might  
8 think of in some ways of varying capacity. But  
9 again, it's supposed to be a better metric to  
10 reflect the actual risk.

11 MR. CUTTER: Right, yeah. There is no  
12 particular day that we expect to see this load  
13 shape, it's a function of aggregating this up  
14 across years, seasons, and months. Here we go,  
15 okay. The next several slides are I think best  
16 for reference, but what we're showing is this  
17 double peak in the gold is the 2016, and then the  
18 blue is the old 2013, so the 2013 is without  
19 ELCC, and 2016 is with ELCC. We're comforted by  
20 the fact that the shapes are largely the same and  
21 they're largely in the same range of magnitude,  
22 and you see this double peak persisting in most  
23 climate zones, but it's not leading to anything  
24 that is way out of whack from what we saw before,  
25 and certainly on an average basis, even when we

1 look at individual climate zones. So you can see  
2 the shape is a little higher, a little lower for  
3 some climate zones than others, but it's pretty  
4 consistent across all the climate zones we looked  
5 at.

6 COMMISSIONER MCALLISTER: So this is a  
7 snapshot of the analysis, this is a specific  
8 analysis that results in this kind of dip in the  
9 late afternoon. If and when, say, temperatures  
10 continue to evolve in the direction that we all  
11 think they're evolving, I guess what would you  
12 expected to happen? Would this curve kind of be  
13 likely to even out over time as the peak kind of  
14 gets pushed further back in additional months and  
15 not just September? Or, you know, I'm going to  
16 ask you to speculate on that a little bit. Over  
17 time, you'd expect, since months are attached,  
18 you know, one ends and the next begins, and you  
19 get these average effects, you'd kind of expect  
20 it to be a smoother curve over time, but I guess  
21 I'm wondering if that's just not necessarily what  
22 we would expect.

23 MR. HORI: Yeah, I would be hesitate to  
24 hazard a guess, given how complex the modeling  
25 and the meteorology is behind the temperature

1 forecast about how it would change the shape over  
2 months and over hours of the day. And if we're  
3 expecting higher temperatures in the afternoon, I  
4 think largely we would expect to see the peak  
5 increase, so it might be getting more peaking, as  
6 it were, but with reference to the double peak,  
7 I'm not sure how we might hazard a guess on that  
8 one.

9           CHAIRMAN WEISENMILLER: Yeah, but I think  
10 the basic message is our climate is changing and,  
11 you know, that we're certainly going to more  
12 extreme cases, and at this point, again, I have  
13 no clue whether one and 10 weather is a  
14 historical pattern, or whether it's going to be  
15 much much worse, and that's certainly a long term  
16 question. But again, I think the expectation is  
17 climate on steroids, much more extremes.

18           COMMISSIONER MCALLISTER: Well, I'm kind  
19 of thinking or wondering if this latter peak is  
20 sort of like the canary, you know, a little bit  
21 of effect, you know, this latter peak is going to  
22 start growing and multiplying and sort of subsume  
23 the earlier one. But who knows?

24           MR. HORI: Yeah. And I think that is a  
25 good sort of question, observation, because I

1 think what's important from these charts really  
2 is more the latter peak than the dip. The dip  
3 could be somewhat sort of a data issue, but I  
4 think the shifting to the later peak is a real  
5 effect that we're going to see continue and  
6 probably multiply.

7 MR. CUTTER: Uh-huh, and again that's  
8 driven both by the Weather Files and by the  
9 penetration of the solar on the system.

10 MR. HORI: Okay, so this chart, we just  
11 wanted to show how the numbers have changed since  
12 the April workshop for those who were here in the  
13 April workshop, and if you look at the chart you  
14 probably can't even see it, I mean, it's such a  
15 small change, which is comforting, although we  
16 have done updates, they really haven't changed  
17 things dramatically, I mean, hardly noticeably at  
18 all.

19 MR. CUTTER: I think we're getting towards  
20 the end, but what we are showing here are the  
21 impacts of the TDV across different load shapes  
22 for building efficiency measures. And this is  
23 comparing the 2013 in blue with the 2016 in gold.  
24 The primary effect with more of the capacity  
25 allocation being a little bit -- we're seeing the

1 value for the space cooling going up, but the  
2 value across the board is predominantly a little  
3 higher. And remember again for the Res 30-year,  
4 the TDVs were slightly higher overall than in  
5 2013, it's most pronounced in the cooling, the  
6 space cooling, the lighting are more of a base  
7 load, we're seeing a very modest increase. And I  
8 think that's probably all I'll say there.

9           If we're looking at DEER load shape  
10 measures for, oh, again 30-year residential,  
11 again we're seeing the bigger effect. So this  
12 HVAC shape clearly is a little less pronounced  
13 than the space cooling from the CBEC model. And  
14 if I recall, for example, the space cooling here  
15 is a very kind of low load factor peaky load  
16 shape, so you're seeing that capacity value  
17 having the biggest effect. I think the HVAC from  
18 DEER is less pronounced, so we're seeing a modest  
19 increase in the HVAC, in the lighting, in  
20 refrigerator pretty darn similar. I'll stop  
21 there. We also have charts showing the non-res  
22 15-year and non-res 30-year for different measure  
23 types of people are interested. So that  
24 concludes the presentation. There's obviously a  
25 lot that goes into the TDVs and we're happy to

1 entertain questions.

2           COMMISSIONER MCALLISTER: Just to  
3 clarify, you mentioned you're using the load  
4 shapes for each of those measures, the  
5 characteristics of each of those measures from  
6 the DEER, they're just directly from the DEER  
7 database?

8           MR. HORI: Right. We just wanted to give  
9 some idea on what these new TDVs would do for  
10 different load shapes, and we utilized the DEER  
11 information.

12           COMMISSIONER MCALLISTER: Okay. Thanks.

13           CHAIRMAN WEISENMILLER: When do you  
14 expect the update to the database from CFLs to  
15 LEDs?

16           MR. HORI: (Laughs) Well, that's a  
17 question for the PUC and I think Jeff Hirsh is  
18 there. So maybe we should just call it efficient  
19 lighting and remove the CFL.

20           MR. CUTTER: That's true.

21           MR. HIGA: A question. Randall Higa,  
22 Southern California Edison. On slide 21 you  
23 noted that the curves included both utility,  
24 solar, as well as onsite solar, yeah, that one on  
25 the bottom. I just want to make sure that's what



1 you did say?

2 MR. HORI: Yes, that's correct.

3 MR. HIGA: Is that true for all the other  
4 curves that they, you know, when you mentioned  
5 that includes the impacts of solar, does that  
6 include both the onsite as well as the utility  
7 solar?

8 MR. CUTTER: Yeah, so the scenarios are  
9 all labeled in terms of RPS targets, so 40  
10 percent or 50 percent, and these are drawn out of  
11 the LTPP proceedings, or, sorry, the Long Term  
12 Procurement Planning and the CAISO Transmission  
13 Planning develops scenarios, and those were  
14 incorporated in the load forecasts that were used  
15 for the IEPR. So even though they've referenced  
16 often an RPS scenario, it includes all the  
17 renewable generation also from the behind-the-  
18 meter PV that doesn't count towards RPS, so it's  
19 a look at the build-out of the renewables  
20 irrespective of where they're coming from that we  
21 expect to be on the system from those planning  
22 scenarios.

23 MR. HIGA: Okay, so just to be clear, so  
24 if you assume, say, a 30 percent RPS in one case,  
25 you add on top of that the behind-the-meter

1 onsite generation, then? In other words, the 30  
2 percent doesn't include the onsite.

3 MR. CUTTER: Right.

4 MR. HIGA: So is that identified  
5 somewhere in the report in terms of what you  
6 assume to be the onsite solar generation  
7 capacity?

8 MR. CUTTER: That's an assumption we  
9 include from the IEPR, so it's not part of the  
10 TDV Report. There is a graph in there that shows  
11 the breakout of the renewables and there's more  
12 background, I believe, that would be in the IEPR.

13 MR. HIGA: Okay, so you took that from the  
14 IEPR, okay.

15 MR. CUTTER: And then the IEPR in turn  
16 references -- really, the most detail comes from  
17 the - there's a link I think in the report to the  
18 LTTP planning workshop in May that has a nice  
19 slide deck that shows and there are spreadsheets  
20 on the CPUC website that have all the detail of  
21 the assumptions for all the scenarios.

22 CHAIRMAN WEISENMILLER: Yeah, we actually  
23 spent a lot of time on the IEPR Demand Forecast  
24 working with Edison. It includes not just  
25 behind-the-meter solar, it includes CHP, it

1 includes electric vehicles, it includes  
2 electrification, it includes climate change, and  
3 it includes a lot of different factors, so we  
4 could certainly debate how well it includes  
5 specific ones. But it certainly in public  
6 process came up with stuff with Edison's  
7 participation.

8 MR. HIGA: Okay.

9 COMMISSIONER MCALLISTER: And also just  
10 to be clear, this is -- you have used one  
11 scenario that ended up being kind of the  
12 consensus scenario. You haven't run different  
13 scenarios to sort of inform this particular  
14 result.

15 MR. CUTTER: Right, that's correct. So  
16 we looked at a lot of different scenarios, but  
17 for the TDV calculations we've done, like I call  
18 it, a "straight down the middle," it's the mid  
19 case from the IEPR, the mid case from the Demand  
20 Forecast, the expected case from the LTPP.

21 COMMISSIONER MCALLISTER: And you'll  
22 remember, Randall, that there was a fair amount  
23 of trauma right there at the end with respect to  
24 the Demand Forecast in the Edison Territory and  
25 making sure that the agencies were lined up on

1 that. So I think that discussion, I think, had a  
2 lot of participation.

3 MR. HIGA: Okay, so my last question is,  
4 then, so the TDV values do take into account  
5 onsite generation in terms of the values that are  
6 being used for 2016, right?

7 MR. CUTTER: Yes.

8 MR. HIGA: Okay, and the onsite solar is  
9 treated the same way as the utility solar, then?

10 MR. CUTTER: Yeah, in the sense it's all  
11 generation on the grid that is changing the net  
12 load shape that impacts, the predominant impact  
13 is where the capacity value is being allocated.

14 MR. HIGA: Okay, thank you.

15 COMMISSIONER MCALLISTER: I think that's  
16 the key answer there is that we're talking net  
17 load for this.

18 MR. LOYER: Yeah, so do we want to throw  
19 the floor open to comments? I have the schedule  
20 that we wanted to talk about PG&E, but it's not  
21 written in stone. So do you want to do PG&E  
22 first?

23 COMMISSIONER MCALLISTER: Yeah.

24 CHAIRMAN WEISENMILLER: Yeah, I guess we  
25 could take blue cards, or whatever.

1           MR. LOYER: I don't believe we have any.  
2 We have a pretty small crowd.

3           CHAIRMAN WEISENMILLER: So just make  
4 sure.

5           MR. PLUMMER: Hi, Matt Plummer from PG&E.  
6 I want to first thank E3 and the CEC staff for  
7 doing all the work to do this update. I think  
8 after this workshop and the last one, and many  
9 internal discussions, I wouldn't say that I've  
10 mastered TDV, but I definitely have a greater  
11 appreciation for the tremendous amount of work  
12 that goes into it.

13           I think overall we thought that the  
14 update was fine, that we think it will make a  
15 reasonable basis for evaluating energy efficiency  
16 measures. The one concern we did have is how the  
17 additional achievable energy efficiency was  
18 incorporated. The concern was that there might  
19 be some double-counting. We didn't have the  
20 benefit of looking at the full report, so that is  
21 one question I have. I don't know if you want to  
22 answer?

23           MR. CUTTER: This is for the Demand  
24 Forecast?

25           MR. PLUMMER: Right, particularly the mid

1 with AEE.

2 MR. CUTTER: So the California Energy  
3 Demand Forecast from the '11 or '12 has a mid-  
4 case that does not include the additional  
5 achievable energy efficiency. The mid case for  
6 the IEPR adds on top the, again, straight up the  
7 middle, the mid case for the additional  
8 achievable energy efficiency that reduces the  
9 demand.

10 CHAIRMAN WEISENMILLER: Yeah, but the mid  
11 case, the intent was to have what we used to call  
12 reasonably expected to occur conservation, as  
13 opposed to additional measures, and I believe,  
14 and we both shuddered somewhat, we have not only  
15 the 2016 Standards, the 2019, and the 2022, and  
16 of course Andrew and I were both trying to figure  
17 out, after zero net energy, you know, what's  
18 next? But anyway, somehow those are all expected  
19 to occur, it's certainly an impact, and it is  
20 always a little scary. I think their first chart  
21 expressed the TDV values down to light too  
22 significant, you know, many digits well past the  
23 uncertainties, but this in fact is a good  
24 question, but again, I suspect when you unpeel  
25 the uncertainties, it's certainly among any

1 number of uncertainty, you know, again the  
2 results always express more precision than  
3 reality, I'm afraid.

4 MR. PLUMMER: Yeah, and I guess the  
5 concern was just that there be some expected  
6 savings that were actually for this cycle, those  
7 would lower the load, which would essentially  
8 maybe not be giving credit for the savings for  
9 those very measures. I guess maybe is there a  
10 section of the report that would get into just  
11 exactly how those were incorporated? Or it might  
12 be something we could follow-up with you guys to  
13 dig into?

14 MR. CUTTER: Yeah, it's not described in  
15 depth in the report as one of the assumptions is  
16 taken from the IEPR. I would say two things  
17 about that, 1) for the resource balance here for  
18 capacity, we do take -- instead of trying to  
19 determine when new capacity is needed on the  
20 system, which affects the dollar per kilowatt  
21 year of value of capacity, we take the additional  
22 achievable energy efficiency out. So that ends  
23 up moving the need for new capacity back from the  
24 LTPP scenario in 2024 or something, back to 2020.  
25 So that is in a sense giving the energy

1 efficiency credit for the capacity it's avoiding,  
2 even though we are expecting that to be there  
3 already in the forecast. And on the generation  
4 side, again, because we were using these inputs  
5 from the IEPR, and we were going through the  
6 production simulation runs, I think we were  
7 taking the mid case IEPR that did already include  
8 the energy efficiency. So it's true that we're  
9 in a sense not giving the fullest value to the  
10 efficiency if we had taken those out; however,  
11 the effects that would have both on the prices we  
12 see from the Plexos runs, you know, by reducing  
13 the demand a little bit, I think would be quite  
14 small and probably in the insignificant digits,  
15 plus it's really driven in the end by the retail  
16 rate forecast. So we would have to see the lower  
17 demand both propagate through the production  
18 simulation runs, and through the retail rate  
19 forecast to see an effect on the TDVs.

20 MR. PLUMMER: Okay, well, maybe if you're  
21 open, I can connect you with one of our subject  
22 matter experts on the additional achievable, but  
23 it sounds like you've put a lot of thought into  
24 it. And then the only other point that we had is  
25 we did urge the Commission to start the



1 conversation on how to value DG. I understand  
2 that's not something that will be resolved in  
3 this cycle, but I think it would be valuable to  
4 at least start the conversation. Many of the  
5 data needs, the methodology, my concern is that  
6 there may be gaps when we get into the next cycle  
7 and if we don't start identifying exactly what  
8 we're going to need when we come up with a value,  
9 we may come to that Code cycle and simply not  
10 have it. So I totally understand it's contingent  
11 on other decisions and other venues, but I think  
12 we still would stand by our recommendation to  
13 start the conversation now so that we're all  
14 prepared when we get out to the 2019 cycle.

15 COMMISSIONER MCALLISTER: Well, you now,  
16 certainly I think it's a valid conversation to  
17 have. I think the risk is if we start it and  
18 it's immediately kind of a food fight versus a  
19 reasoned discussion, and obviously we don't want  
20 to have that in this particular venue. But  
21 there's no reason why that discussion can't sort  
22 of begin to happen in various levels of  
23 formality, but at least informally to kind of  
24 start to get collective heads around a  
25 methodology and what kind of data needs there

1 would be if we don't already have those data.

2 CHAIRMAN WEISENMILLER: Oh, no, I agree  
3 with the caveat, obviously it's going to be a lot  
4 clearer what's happening with the solar tax  
5 credit and with the NEM, too, at the PUC, and  
6 we're certainly trying not to shift that debate  
7 from the PUC to here.

8 COMMISSIONER MCALLISTER: Yeah, they're  
9 going to come down on some key issues that we all  
10 kind of have to -- they've got the jurisdiction  
11 to do that.

12 MR. PLUMMER: Right.

13 COMMISSIONER MCALLISER: So, you know,  
14 how do you treat the -- well, whatever, we won't  
15 get into it. There's not a lot of point to  
16 putting the cart too far ahead of the horse here.

17 MR. PLUMMER: Well, I'll accept your  
18 invitation for the conversation.

19 COMMISSIONER MCALLISTER: Sure, yeah.

20 MR. PLUMMER: Thank you. If you have no  
21 more questions, those are our comments.

22 MR. LOYER: Thank you, Matt. With that,  
23 we'll throw the floor open to other comments  
24 here. Bob?

25 MR. RAYMER: -- talk about lifecycle

1 costing as opposed to TDV?

2 MR. LOYER: Oh, sure, absolutely.

3 MR. RAYMER: Okay, this is Bob Raymer with  
4 California Building Industry Association. And my  
5 points aren't on TDV, most of that is kind of  
6 over my head and so I won't be delving down into  
7 that, but I do have some issues to raise in  
8 general about cost-effective analysis.

9 Now, over the years the Energy Commission  
10 has focused on the differential costs of  
11 material, and going from one set of standards to  
12 the next, and the differential costs of labor  
13 related to the old standards versus the new. And  
14 if those differential upfront costs are more than  
15 accounted for by reduced utility bills, the item  
16 is cost-effective and we move forward. Some of  
17 the things that aren't considered in the cost-  
18 effective analysis, which over the last 30 years  
19 it's made sense not to do this because they  
20 weren't major factors, are retooling of the  
21 manufacturing sector that might be prompted by a  
22 change; for example, there was an isolated  
23 incident back with the 1992 standards where some  
24 changes were made and the standards relative to  
25 window systems in a segment of the window

1 industry, primarily the aluminum frame  
2 manufacturers, had to do some retooling. And  
3 while that was very costly to them, overall that  
4 industry did not have to see major changes, it  
5 was focused only on aluminum. And I'll get to  
6 why I'm raising these points in just a minute.

7           In addition, not considered in the cost-  
8 effectiveness calculations for updated standards  
9 is necessarily the redesign and reengineering of  
10 home plans, in addition the retraining of site  
11 superintendents, contractors, and crew from the  
12 subcontractors, 1) these are very difficult  
13 things to quantify, but they have not been  
14 included and for good reason, by and large with  
15 the exception of aluminum frame windows in '92,  
16 they've been relatively minor costs compared to  
17 the general labor and material costs. That  
18 brings me to the 2016 development, and that is in  
19 particular there's two items being considered,  
20 the advanced wall systems -- now, this is for  
21 residential -- the advanced wall systems and the  
22 high performance attic proposals. Both of these  
23 represent a quantum leap in engineering and  
24 design changes over past practice. For  
25 production housing, in particular, we've been

1 using a 2 X 4 based on 16-inch wall design since  
2 Post-World War II, with everybody coming back  
3 from the war, you know, we saw the emergence of  
4 production housing, and this has been the  
5 standard design operation for residential  
6 construction for decades and decades. And the  
7 fact of the matter is, moving to advanced wall  
8 systems, moving to high performance attics, is  
9 going to save energy, there's no question, if you  
10 do it right you're going to save energy here.  
11 How much could be the subject of debate, but it  
12 will save energy. What I'd like to raise as an  
13 issue for you to consider is the fact that, 1) in  
14 particular, the advanced wall system is going to  
15 require some major major manufacturing retooling  
16 for just about all of your window manufacturers,  
17 1) they're going to have to maintain a product  
18 line that still provides product for the existing  
19 wall systems, but for the most part they're going  
20 to have to consider one or more tweaks to their  
21 product line for a deeper wall, cavity, or a  
22 larger amount of foam board insulation on the  
23 outside, both of those represent interesting  
24 engineering designs and interesting problems.  
25 The bottom line is we heard back in our forum

1 that we held with the CEC back in April that  
2 there is concern amongst the window industry,  
3 most of them have a deep concern about being able  
4 to provide a product early on in 2017 across the  
5 state that can meet this need.

6 COMMISSIONER MCALLISTER: Bob, could you  
7 describe that sort of, you know, essentially it's  
8 a manufacturing process issue, and then the labor  
9 needs to sort of feed that process, to do some  
10 abstraction there. I mean, what does your system  
11 look like and how would it have to adapt to that?

12 MR. RAYMER: From a mechanical  
13 engineering standpoint, you have tools and dye  
14 systems and extrusion systems, these are large  
15 machines, many of them are far more advanced than  
16 what we would see from 30 and 40 years ago. A  
17 lot of these is computer aided design now. Be  
18 that as it may, it's one thing to have an  
19 extrusion that encompasses a three-inch deep  
20 frame as opposed to a three and three quarter-  
21 inch frame, or four-inch frame. And it costs, as  
22 we heard back in April, it costs about a hundred  
23 grand to retool one of these machines to do that.  
24 And of course, from an engineering perspective,  
25 you've got a problem with that because, once you

1 retool it, you no longer can make the product for  
2 the existing dwellings. You're now making a  
3 newer product. And so that gets to the issue of,  
4 well, is the window manufacturer going to  
5 effectively have sort of two production lines, if  
6 you will? Some of the big ones are going to do  
7 that. The big question here, and the point that  
8 I'd like to raise here, is can they do it by  
9 January of 2017? I suspect that all of this  
10 could come into play probably by 2020 easily, but  
11 not necessarily January of 2017. More  
12 importantly, there's the engineering and redesign  
13 that will have to take place for the home design,  
14 in general. This is not just an isolated  
15 product, forget about windows for a moment, we're  
16 now looking at maintaining the structural and  
17 seismic integrity of the walls, while either  
18 moving the 2 X 6 studs to 24-inch on center, or  
19 even keeping them still at 16-inch on center.  
20 You can do it either way, but both of them raise  
21 some interesting dynamics for where you're going  
22 to put drawer frames, window frames, how you're  
23 going to handle corners, overhangs, you know,  
24 cantilever portions of the house, we don't build  
25 rectangles or squares --

1                   COMMISSIONER MCALLISTER: Can I, let's  
2 see, so relative to the engineering and design  
3 challenges, the constructability of those new  
4 designs, which do you see, I mean, they're part  
5 of the same process, but which do you see as the  
6 more difficult hurdle or the big deal?

7                   MR. RAYMER: First off, I see industry  
8 heading to 2 X 6 construction over the course of  
9 time. I also see the moving to 24-inch on  
10 center. But that will probably happen in a six  
11 to nine-year period at the national level, you  
12 know, NHB has done research where they say the  
13 major changes in design for residential takes 17  
14 years to accomplish, that's not at all the case  
15 for California. Things happen here a whole lot  
16 quicker than elsewhere. My concern here is for  
17 January 2017, is it reasonable to expect that the  
18 plans and designs that are commonly used for  
19 production housing today are -- all of them --  
20 are going to have to get retooled to incorporate  
21 the wall and the high performance attic. But  
22 that can happen, and it's going to happen, the  
23 question here is can it happen on January of  
24 2017. Now, on a very positive note, staff is  
25 providing an alternative, sort of an off ramp, if



1 you will, where as long as we maintain a high  
2 quality envelope that meets the 2013 Standards,  
3 we wouldn't have to necessarily implement the  
4 high performance attic or the advanced wall  
5 system with the addition of some solar on the  
6 roof. All of it, bottom line, you have the same  
7 impact on the grid. And so that's good,  
8 providing that the builder or the company can  
9 afford the solar component.

10           Now, for the larger builders, you know,  
11 the KBs and the Lennar's of the world, they will  
12 be able to handle that because they've already  
13 got a good handle on solar. My concern here is  
14 the small and medium-sized builder. Is it  
15 reasonable to expect them to be able to hit the  
16 high performance attic and the advance wall  
17 designs in the same rulemaking, or to go to  
18 solar? No, they're not going to be able to do  
19 it. And the question here is where can we find  
20 some other low cost alternatives, in essence, are  
21 there any other magical low hanging fruit that we  
22 can grab onto for January 2017, that perhaps the  
23 small and medium-sized builders who don't have  
24 the financing wherewithal to have access to mass  
25 quantities of solar so they can get it at a much

1 reduced rate? How can we handle that?

2 Effectively, I'm saying what's being proposed for  
3 2016 or 2017 is going to save energy, the  
4 question here is involving such major changes in  
5 common design practice, can we do a good job of  
6 this stuff and do it across the state on January  
7 1, 2017? That's my big concern.

8 COMMISSIONER MCALLISTER: So, I mean, I  
9 guess in this context, you know, this workshop  
10 today, I guess I'm hearing that you're feeling  
11 like it imposes cost on the industry that somehow  
12 ought to be internalized --

13 MR. RAYMER: Yes.

14 COMMISSIONER MCALLISTER: -- into the  
15 valuation process or something?

16 MR. RAYMER: That's a very good way to  
17 put it. From a lifecycle cost analysis, with  
18 this particular update as opposed to, you know  
19 the 12 or 13 that we've gone through in years  
20 past, that there should be some attempt to  
21 quantify what it's going to cost to retool, you  
22 know, machines out there and for certain segments  
23 of industry; more importantly, what is the design  
24 change cost that's going to be associated with  
25 advanced walls and high performance attics? In

1 essence, since every plan is going to have to go  
2 through this, every builder, this isn't just a  
3 case where in 1992 we were already using a lot of  
4 vinyl frame windows, so it didn't impact the  
5 entire industry; these two things are going to  
6 impact every home design that's out there. And  
7 so it can be done, the question is there's a cost  
8 associated with it, and should it be included in  
9 lifecycle cost analysis as opposed to years past  
10 this time around? I think it should be.

11 COMMISSIONER MCALLISTER: So, Bob, did  
12 you want to comment? I also want to get -

13 CHAIRMAN WEISENMILLER: A couple  
14 questions. I mean, Bruce is just, as you noted,  
15 this is the standard practice it sounds like  
16 before I was born, so looking around the room at  
17 all the things that have changed over my  
18 lifetime, I guess it's probably time to think of  
19 changing this. Having said that, I guess part of  
20 the question is looking at, you know, we have  
21 substantial utility incentive programs and to the  
22 extent that, particularly asking the utilities in  
23 the room, the issue and certainly you may want to  
24 be reaching out to the PUC Commissioners, is  
25 there something we can be doing right now with

1 those incentive programs to help the building  
2 industry make this transition?

3 MR. RAYMER: Yes.

4 CHAIRMAN WEISENMILLER: And can we get  
5 something very concrete on that to just say,  
6 okay, we understand that, and frankly my fear is,  
7 you know, when I talked to the Chinese officials,  
8 we're talking very seriously about them going to  
9 a Zero-Net Energy goal, and you can really see  
10 China saying, okay, we're going to move that, now  
11 how do we move into this new technology space?  
12 You know, not just LEDs, but what are the  
13 components we can do to really drive down housing  
14 costs and efficiency? And obviously the last  
15 thing I want to do is suddenly, you know, some of  
16 these things you can't really think of moving  
17 offshore, but how do we not once more have part  
18 of a manufacturing base be stalled and be overran  
19 by aggressive companies overseas.

20 MR. RAYMER: And I have a response to  
21 that. The cap program that is administered by  
22 the PUC and the local utilities, the IOUs, if you  
23 will, is just now being rolled out, of course, in  
24 conjunction with the new standards. And there is  
25 going to be a focus on design assistance to, in

1 particular, production housing. And we've  
2 already been assured and we've been very  
3 supportive of the attics and the walls, let's see  
4 what we can do to get as many medium and large-  
5 sized builders doing this stuff now not only so  
6 that they've got designs ready to go come January  
7 2017, but the workforce, this other -- that third  
8 point that I was raising -- you have this sort of  
9 increase in humanity that's coming back to the  
10 construction market, we hit the low 19 percent,  
11 we're back to about 50 percent now, by 2017 we  
12 should be back at 85-90 percent, hopefully 100  
13 percent, but that means you've got more than half  
14 a million people coming back into the  
15 construction industry over that three-year  
16 period. These people need to be retrained on  
17 this stuff, it's not something that they've gone  
18 off and done something else for the last seven to  
19 eight years, they're going to have to sort of not  
20 re-learn their job, they're going to have to  
21 learn a significant enhancement to the job that  
22 they've learned for the last 20 years. And  
23 that's going to take time and effort. And so  
24 maybe this Cap program can help us kind of hit  
25 this ramp up, but I've had 33 years of doing this

1 and I can tell you with no exception, this  
2 proposed update represents a dynamic change in  
3 common design practice. It can be done, but can  
4 it be done on January of 2017? Can we do it well  
5 and not have a slew of construction defect  
6 litigation, class action lawsuits coming back  
7 because we didn't have the bugs worked out?  
8 We've got a big mountain to climb here is what  
9 I'm saying.

10 CHAIRMAN WEISENMILLER: Well, certainly  
11 on the training part, it would be very good to  
12 again think through how we respond to that  
13 specifically in terms of how do we have training  
14 programs where they're needed, you know,  
15 obviously trying to avoid something where we've  
16 got a whole trained workforce for you which is  
17 where the housing construction is, and at the  
18 same time have that sort of quality jobs part, so  
19 trying to figure out what are the training needs,  
20 what are, again, the incentive needs. We need to  
21 really pull the utilities in. I think the vision  
22 has always been to have -- obviously we do a lot  
23 of the research, the utilities do a lot of the  
24 incentives to move that out, and eventually as it  
25 becomes more standard practice, it moves into the

1 Standards.

2 MR. RAYMER: I hear you. For my  
3 purposes, it seems first things first, let's get  
4 the designs right. On a very positive note,  
5 Commissioner McAllister was the keynote speaker  
6 at our design forum that we had back in April,  
7 and for the first time we brought in segments of  
8 industry from all over the country, the windows,  
9 the walls, the roofs, insulation, you name it,  
10 were all there giving presentations. I think  
11 this thing went on for eight or nine hours, it  
12 took a whole day on a Friday in April. And we  
13 got a lot of good information, so industry who  
14 normally gets involved the day before the  
15 adoption is involved well before the Draft  
16 Standards starting moving forward. So unlike the  
17 previous updates that we've got, you've got a lot  
18 of people kind of watching this; just because  
19 they're not here today, I mean, let's face it,  
20 TDV isn't that sexy. But for other purposes,  
21 you've got a lot of people watching this. On a  
22 positive note, the wood industry and CALBO has  
23 some great people who specialize in structural  
24 and seismic design who are very familiar with  
25 what's being proposed, and so we've got some key

1 players that are ready to help us with these  
2 various designs. And staff is coming up with a  
3 half dozen sort of proscriptive approaches, but  
4 you don't necessarily have to go to 2 X 6, you  
5 can get by with 2 X 4, you don't necessarily have  
6 to go to 24-inch on center, you can do it as long  
7 as you've got a certain amount of rigid  
8 insulation on the outside of the house. So there  
9 are going to be a lot of alternatives, but they  
10 all involve getting your act together ahead of  
11 time.

12 COMMISSIONER MCALLISTER: So let me --

13 CHAIRMAN WEISENMILLER: Just for one  
14 second, so the one thing I really want the  
15 utility reps in the room or on the phone to take  
16 a very very clear message to your management that  
17 we're going to be looking for proposals from you  
18 on how to help in this transition preferably in  
19 the next, I've got to say, the next couple weeks  
20 to start getting people engaged because, as we  
21 all know, and certainly in that engagement talk  
22 to Bob on how to do this.

23 MR. RAYMER: We're engaged with the PUC,  
24 but you know, we meet on a quarterly basis and we  
25 kind of need to ramp up now.



1                   COMMISSIONER MCALLISTER: Well, that was  
2 what I was going to suggest, is sort of what is a  
3 little SWAT Team approach, or maybe not so  
4 little, but how do you get the right stakeholders  
5 in the room, sort of have a process, lay it out,  
6 sort of instill it with some sense of urgency,  
7 you know, results focused? From my perspective,  
8 I applaud you for sort of getting everybody  
9 together and starting the machinations for really  
10 making sure they understand what's coming because  
11 I think it is pretty clear what's coming, I mean,  
12 I think staff has done a good job, we've had a  
13 lot of discussions about how to distill this 2016  
14 update into the key issues. Relative to previous  
15 cycles, which predate me, but you know, sort of  
16 historically my understanding is that there were  
17 a lot of large constellations of issues on the  
18 table, that we all had to work through to get to  
19 to get to the final results. And so maybe any  
20 one issue was kind of small, but they added up.  
21 But this time it's sort of a few key issues that  
22 we're trying to resolve, and essentially practice  
23 changes are front and center. And so we've sort  
24 of tried to keep distractions to a minimum with  
25 smaller issues and sort of focus on the big

1 picture here with just a few key issues that we  
2 can work through. And you know, I think that  
3 interaction between staff and industry and other  
4 stakeholders has been very open and transparent  
5 and productive. So I wanted to sort of get --

6 MR. RAYMER: It has. And it's a very  
7 positive working relationship that we're enjoying  
8 now that perhaps we didn't have 15 years ago,  
9 looking in the past. But the fact of the matter  
10 is, there's a very good line of communication  
11 with staff. We're all aware of these problems,  
12 nothing here today is new. And so on a positive  
13 note, that's a good thing because we don't want  
14 to wait until, you know, December 31, 2016 to try  
15 to figure out what are we going to do now. We  
16 know these things ahead of time.

17 COMMISSIONER MCALLISTER: Certainly the  
18 professional side of the building industry, I  
19 think, can get engaged and I think solve a lot of  
20 these problems, there's going to be some costs,  
21 and hopefully the utilities and ratepayers can  
22 fund some of that, and there's some savings, that  
23 whole system can engage and provide some  
24 resources. You know, I would just also look at  
25 the kind of rubber hitting the road stuff, you

1 know, I'm not intimately familiar with the sort  
2 of labor issues that you described briefly here,  
3 but I think to the extent that the workforce --  
4 that folks actually out there building the  
5 buildings need training, that needs to be very  
6 intentional and planned out beforehand. And I  
7 guess I just don't know whether it typically is  
8 or isn't, but I think in this case it's very  
9 clear that the implementation, the devil is in  
10 the details, you know, that buildings have to get  
11 built, and built well. And so that issue, I  
12 think, is probably one that needs a little  
13 noodling on to figure out how we make that  
14 happen.

15 MR. RAYMER: We have two huge issues in  
16 that area, 1) probably the majority of workers  
17 who are going to be working on these homes in  
18 January 2017 and throughout the years after  
19 aren't in the workforce right now, they're doing  
20 something else, they're beginning to come back.  
21 And so it's not like an educational effort that's  
22 in place today is going to help us with that, it  
23 can certainly smooth things out a little, but  
24 we're going to have to be focusing on this  
25 probably the 18 months leading up; but the second

1 issue is that about half of our workforce doesn't  
2 have English as a primary language, and that is  
3 something we became very familiar with with Cal  
4 OSHA's fall protection rules back in the year  
5 2000. More than half of our workbooks that we  
6 put together to explain the new standards for  
7 fall protection were in Spanish. And those got  
8 used first, quite frankly, we went through 10,000  
9 of those way ahead of the 10,000 we had in  
10 English.

11 COMMISSIONER MCALLISTER: Well those are  
12 exactly the kinds of issues that I'm referring  
13 to, and I do believe they're solvable.

14 MR. RAYMER: Yeah, they are. They are.

15 COMMISSIONER MCALLISTER: Certainly, you  
16 know, maybe the issue isn't you're not going to  
17 know who these people are until closer in to the  
18 applicable date, but having the systems in place,  
19 having the protocols in place, I mean, all of  
20 that ready so they can plug right in and get  
21 trained and get with the new program, I think is  
22 really important. So that's the kind of  
23 strategic planning I think we ought to be  
24 starting now.

25 MR. RAYMER: Yeah. Lastly, and this is

1 something the CEC hasn't done in the past for the  
2 most part, you're going to be developing tiers  
3 for the Green Building Standards as you had with  
4 the last two iterations of the Green Building  
5 Standards. You've developed tiers primarily  
6 going 15 and 30 percent beyond. We may see  
7 another more aggressive package added to that  
8 this time around. Given that the Standards are  
9 about to be exceptionally stringent, to the  
10 extent that you can, as time permits, and  
11 resources allow, which is a tough sell right now,  
12 but local jurisdictions are required by law to  
13 show to do a cost effective analysis if they  
14 adopt something that goes above the Regs. And to  
15 the extent that the Commission can help provide  
16 analysis so that they don't necessarily have to  
17 reinvent the wheel, particularly for the more  
18 aggressive packages which are a tough sell, that  
19 could be very helpful. And that concludes my  
20 comments.

21 COMMISSIONER MCALLISTER: Okay, thanks a  
22 lot, Bob. Mazi, are there any particular points  
23 you wanted to talk about in terms of the  
24 discussions that are ongoing?

25 MR. SHIRAKH: Yeah, just very briefly.

1 Actually, I want to thank Bob because, you know,  
2 they're engaging us very early in the process.

3 COMMISSIONER MCALLISTER: Absolutely. I  
4 can't say more positive things about this. I  
5 mean, obviously we have to get to a result that  
6 we can all live with, but I think the tenor and  
7 just the civility and just the proactive, just  
8 positive relationship, I think, is really great.

9 MR. SHIRAKH: It's a very positive  
10 cooperative relationship and, you know, the fact  
11 that they are letting us know about these issues  
12 early on is very helpful. I just wanted to  
13 highlight a few points and I think Bob actually  
14 mentioned them. The 2016 Standards is all about  
15 giving Builders choices, for both high  
16 performance attics and high performance walls,  
17 and providing an off ramp, which is the PV offer,  
18 and I think Bob mentioned all of those.

19 So talking about like walls for instance,  
20 there are several different strategies that we're  
21 pursuing and we're talking to the builders and  
22 others, some of them are more disruptive, some  
23 are not as disruptive, and the same goes for high  
24 performance attics. For instance, as Bob  
25 mentioned, to meet the U Factor for the high

1 performance walls, you can go to a two-inch  
2 exterior continuous insulation which would  
3 require some adjustments to the windows, which  
4 could be done at the manufacturer level, or it  
5 can be done by field adjustments to the framing  
6 and so forth. But they can also do that with a 2  
7 X 6 construction, with only a one-inch, or one  
8 and a quarter-inch exterior insulation, which is  
9 not as disruptive, and it's already probably  
10 being constructed in a good fraction of the  
11 homes.

12           In addition to that, what's important is  
13 the industry, the manufacturers are responding in  
14 a big way to our proposals. And they're being  
15 very creative and innovative. For instance, last  
16 week we talked to an insulation manufacturer who  
17 was telling us they can give us a continuous  
18 insulation, an ESP product, with an R value of R8  
19 per inch at a very favorable cost. Again,  
20 because we're pushing this, we're putting the  
21 message out there, the industry is responding.  
22 And if that materializes, you know, that  
23 basically solves our problem because it's - so  
24 we're pursuing that with the manufacturers and  
25 others. But the key is that, because we're

1 there, we're putting this message out there,  
2 people are responding. And if we vacillate, you  
3 know, we'll lose that momentum.

4 For advanced attics, the same thing,  
5 there are manufacturers out there that are  
6 creating tiles on the roof that have insulation  
7 imbedded in them, and with some higher  
8 reflectance that can meet our high performance  
9 attic criteria. And that's not disruptive at  
10 all, you know. So there's innovation going on,  
11 there's the various choices.

12 The other thing that we're providing is,  
13 of course, this PV off ramp for both high  
14 performance attics and walls, and our simulation  
15 which we shared with CBIA shows that for a very  
16 modest amount of PVs, they can actually trade  
17 away both of them on an order of about half a  
18 kilowatt to one kilowatt in basically all 16  
19 Climate Zones. So, you know, with that modest  
20 amount of PV, for those builders who are not  
21 comfortable with pursuing one of these measures,  
22 they can trade away one or both, or keep one.

23 We're also working with the CPUC and the  
24 IOUs on the idea of incentives. Bill Pennington  
25 and I, we've been in contact with them, we



1 understand the value of the incentives both  
2 before the effective date and even after the  
3 effective date for certain measures. And one of  
4 the other points is, if the manufacturers are  
5 retooling, shouldn't we expect that the cost of  
6 the product reflect that cost of retooling, and  
7 if they are doing extrusions or something that's  
8 different, you know, you would expect the cost  
9 that we get from the product should include all  
10 that.

11 But the point is that we're aware of all  
12 of this, we're going to be working with  
13 manufacturers and the utilities and the builders,  
14 and we have this workshop coming on later this  
15 month, July 21st, which is probably going to be  
16 very exciting, probably more exciting than this  
17 one.

18 COMMISSIONER MCALLISTER: More exciting  
19 than this one, I would hope, yeah. Although this  
20 one is heating up, I like it.

21 MR. SHIRAKH: So anyway, I think we're  
22 still in the early stage and I'm hoping we can  
23 reach some consensus on this package of standards  
24 and the measures.

25 COMMISSIONER MCALLISTER: Thanks very

1 much. You know, I really have to express  
2 confidence in staff on this, I mean, you guys are  
3 doing a great job, and I really like the sort of  
4 solutions oriented conversation and really trying  
5 to knock down the barriers as they appear, and  
6 that's really what we do. I mean, the  
7 marketplace is what actually makes all this  
8 happen in practice, and so we really need to sort  
9 of listen and prod and figure out what's going to  
10 work to get the goals that we have in California.  
11 So good stuff. Thank you very much.

12 MR. HUNT: Good morning. This is  
13 Marshall Hunt, PG&E, Pacific Gas & Electric. And  
14 I have the pleasure of being on the statewide IOU  
15 Codes and Standards team, along with Randall Higa  
16 and others. And it's very important that we  
17 engage, and we have been engaged, in coming out  
18 of the 2016 process which we're deeply involved  
19 with now and we are definitely interacting with  
20 other parts of our company. So there's four  
21 different ways in which we're supporting exactly  
22 what Commissioners are wanting, and certainly if  
23 you want to talk to your compadres and your  
24 Commissioners over at CPUC, it would be very very  
25 helpful because, in the last word, we only can do

1 what the CPUC approves. And it's really about  
2 market transformation. So we have the Cap  
3 program, that's the California High Performance  
4 Homes Program, we have the Compliance Improvement  
5 Program, which includes the Reach Codes which Joe  
6 Loyer works with us on, then we have Workforce  
7 Education and Training just like Bob talked  
8 about, and a really important one is Emerging  
9 Technologies. And in our tactical plans in the  
10 Codes and Standards group, we look at these as  
11 all serving to bring the industry up for both '17  
12 and '20. So we are very very focused on the  
13 loading order, of course, and so the energy  
14 efficiency for us is the very first thing because  
15 the buildings show essentially is there forever.  
16 So we are working closely with Mazi and Bill and  
17 look forward to having a Cap points. What you do  
18 in the new program is you get paid, depending on  
19 your savings above Code, but you also get a bonus  
20 for doing certain things. And prior to our most  
21 recent discussions, we had had Cap points for  
22 Code in transition, Code future understanding, we  
23 want to get costs for doing that, and per your  
24 input I will be taking back a very strong message  
25 that we need to simplify. So we have five or six

1 measures in this Code compliance Cap points. And  
2 now we want to shrink it to just two per Mazi and  
3 Bill's input to this. And we're getting good  
4 support from the CPUC on that, and so I hear you  
5 loud and clear, we need to simplify and we will  
6 do that. Certainly on the -- did you have a  
7 question on that or...?

8           COMMISSIONER MCALLISTER: I just wanted  
9 to, you know, if there are issues, we all know  
10 that the attribute ability question comes up over  
11 and over and there are structural issues there  
12 with sort of what's kosher and what's not, and I  
13 would just invite you to make sure that you're  
14 bringing that message, you know, it's sort of a  
15 little bit one side applies to us, the other  
16 applies to the PUC, and hopefully those match up  
17 somehow, and often they don't, or sometimes they  
18 don't. So to the extent if that becomes a  
19 barrier, then we certainly need to hear about  
20 that quickly and sort of have that conversation  
21 across Commissions --

22           MR. HUNT: Excellent.

23           COMMISSIONER MCALLISTER: -- and over  
24 time try to solve that structural problem.

25           MR. HUNT: Yes, because we're not really

1 talking here about necessarily a resource  
2 acquisition that you'd have in a standard energy  
3 efficiency program; rather, we have a market  
4 transformation issue, so the total resource cost  
5 issues change dramatically. In our Code  
6 compliance improvement efforts, we've dealt with  
7 the Reach Codes, as I said, we're also doing a  
8 pilot that was directed by the CPUC down in the  
9 Fresno area for PG&E and other areas for the  
10 utilities, in which we're going to work with the  
11 change out issues on HVAC residential, and that's  
12 a huge challenge, but we want you to know we're  
13 not forgetting the retrofits, it's very very  
14 important.

15           Workforce education and training, we have  
16 our training centers. Any time we can get more  
17 support for that, it sometimes sees a soft side,  
18 if you will, of energy efficiency, but as we've  
19 heard loud and clear from Bob, is it's critical  
20 that we have the people out in the field that can  
21 do the work, along with the technologies, and  
22 lastly, that's what brings us to emerging  
23 technologies. So as part of this cycle, we were  
24 able to have an emerging technology project which  
25 supported the high performance attic and the high

1 performance walls. So as we look forward, I'm  
2 making a plan and others are making plans where,  
3 as we look forward to 2019 Standards, there's a  
4 whole list of emerging technologies that we need  
5 to implement, and we may need to find creative  
6 ways to make sure we get that funding. So I  
7 wanted to assure you that the Statewide Codes and  
8 Standards Team is very much engaged in this and  
9 looks forward to working with you, the building  
10 industry, and other stakeholders. Thank you.

11 COMMISSIONER MCALLISTER: Great. Thanks.

12 CHAIRMAN WEISENMILER: Well, thank you.  
13 I would note that at the last -- the PUC had  
14 their En Banc on efficiency and President Peevey  
15 invited both of us to be there, and certainly we  
16 talked about it afterwards, obviously one of  
17 Mike's frustrations is looking for creativity and  
18 imagination from the utilities, and often finding  
19 it wanting in this area. So certainly trying to  
20 get the message out to really be creative, be  
21 engaged, to be helpful here, and certainly the  
22 PUC Commissioners looked to us for comments on  
23 where things are working and not working.

24 MR. DAY: Good morning, Commissioners,  
25 Director Oglesby, and fellow usual suspects. I

1 was actually reflecting on this, that at the  
2 start of TDV many years ago, probably half of us  
3 were still in this room, and there were others  
4 there, and some of us had more hair, or darker  
5 hair at the time, but it's amazing the number of  
6 us that are actually the same group of people.  
7 I've got a lot of respect for TDV, I think it's  
8 really led the world, but today I'm not here to  
9 praise TDV, but to protest in a sense. We're  
10 working on 2016, but on July 1st we had the new  
11 Standards go into effect. That has put  
12 manufacturing go dark. There are pieces of  
13 equipment, the highest efficiency pieces of  
14 equipment, the pieces of equipment that  
15 manufacturers and investors develop to  
16 specifically target TDV, things like the aqua  
17 chill unit, like the ice bear unit, the things  
18 that have the highest value cannot be processed  
19 through the current version of Title 24  
20 Compliance Software. Those manufacturing lines  
21 are dark. Those manufacturing workers are  
22 sitting at home. And we're working on 2016.

23 I got a lot of comments I could make  
24 about why are we working on 2016 when the current  
25 system doesn't work unless you have plain vanilla

1 air-cooled 13 seer carrier units, but the basic  
2 point is, please, I understand that there's a  
3 long lead time that we need to get working at,  
4 I've been in a lot of these revisions, but  
5 please, if it's not working -- and it really  
6 isn't working right now for a lot of  
7 technologies, the engine does not allow it to be  
8 computed, give us some sort of work around,  
9 please. Let us put our people back to work, let  
10 us continue to work with the utilities to put  
11 these in the emerging technology programs. We  
12 can't sell it legally when the stuff doesn't  
13 work, and here we are working on 2016 when 2014  
14 doesn't. Maybe we get special dispensation to  
15 use the old Codes, the old compliance software,  
16 until the new software is allowed to work?  
17 Something, anything. But please let the people  
18 who have invested in emerging technologies that  
19 take advantage of TDV, the smaller niche stuff  
20 that's where our future lies, we're excluded from  
21 the marketplace because 2014 is not working. And  
22 I don't have much more to say other than that.

23 COMMISSIONER MCALLISTER: Thanks,  
24 Michael. I think the reality is that, as you  
25 said, there's a lead time, you know, the fact



1 that we're anticipating the 2016 update does not  
2 in any way mean that we're devaluing the 2014  
3 implementation. There are a lot of people who  
4 are not in this room who are working on that and  
5 getting the bits and pieces together, and this is  
6 a bit and a piece that needs fleshing out. I  
7 know it's important to you. I don't know if,  
8 Mazi, if Martha were here she'd probably have  
9 something to say about that, about the compliance  
10 tools for 2014, but certainly --

11 CHAIRMAN WEISENMILLER: Yeah, no, I was  
12 going to say, I mean, the reality is 2014 is in  
13 place, we're moving on to 2016. The reality is  
14 that there have been compliance issues and  
15 certainly we're not going to hold off on 2016,  
16 but we're trying to stay focused on the  
17 compliance issues, and certainly again this is  
18 not necessarily the right group in this room to  
19 really take up those issues, but certainly  
20 following up with Rob, Martha, you know, Dave  
21 Ashukian, and trying to say, okay, just as we all  
22 have our software on our phones updated fairly  
23 periodically, that the compliance software is  
24 going to keep being updated, and then getting  
25 better, and part of it is trying to make sure

1 that, again, we're sort of setting the priorities  
2 on what people need as we go forward to get more  
3 and more of those niche technologies in.

4 MR. SHIRAKH: This is Mazi again. I  
5 agree, you know, most of our staff is still  
6 working on implementation of 2013 standards, and  
7 Martha Brook is very engaged in updating the  
8 CBECC Res, and if there is any special features  
9 that people require, they should be talking to  
10 her and she has a list of priorities and they're  
11 going through that and constantly updating. So I  
12 don't see that as a problem. And again, I  
13 totally agree that 2016 shouldn't get in the way  
14 of implementing 2013. Thank you.

15 MR. LOYER: To that end, we actually pay  
16 good money here to have Brian, Eric and Snu  
17 brought up here to Sacramento, and I note that  
18 they haven't answered a question in quite a  
19 while, so if anybody, I would like to refocus on  
20 the TDV, and please, yeah.

21 COMMISSIONER MCALLISTER: I would just  
22 point out -- Jon, come on up -- but I think the  
23 people that are embedded in the various things  
24 that we do here understand that TDV is a key tool  
25 on all of these -- now, we're talking about TDV

1 within a specific context here, but, you know,  
2 Title 24 and Emerging Technologies, and all these  
3 things get mediated by that, you know, they get  
4 evaluated through that lens. So I mean, it  
5 highlights the fact that people doing good stuff  
6 know that TDV is important. So some of these  
7 comments aren't exactly on point for this  
8 workshop, but that's okay because this is the  
9 kind of stuff that we need to hear.

10 MR. LOYER: They're very good comments.

11 MR. MCHUGH: Jon McHugh, McHugh Energy.  
12 I'd just like to make a first comment, which is  
13 that TDV seems to be extremely stable, and if you  
14 look at the results when we looked at the average  
15 cost and the impacts on various measures, you see  
16 that the increments in TDV change things but they  
17 are essentially adjusting around the edges. And  
18 my expectation is that's primarily driven by the  
19 fact that the total value of the TDVs are based  
20 on the projection of revenues. And to the extent  
21 that our projection of revenues are good, then  
22 the overall values, you know, the present values  
23 of savings from particular measures using TDV are  
24 going to essentially match those forecasts. Am I  
25 getting this right, that in terms of the total

1 values that's really driven by the forecast of  
2 revenues?

3 MR. CUTTER: Yeah, I mean, the revenue  
4 forecast obviously is a big driver as you'll see  
5 from this, and the light blue is such a big part  
6 of that. The other reason for the stability is  
7 just, you know, while we've been updating things  
8 like the marginal energy cost and the capacity  
9 cost, there haven't really been any major  
10 fundamental changes in that since we've started.  
11 I think this ELCC is probably the largest real  
12 sort of change that we've seen. And even so, its  
13 impact is really in the out years, so when we do  
14 this averaging, we see a little bit of this dual  
15 impact. But it's not a major change.

16 MR. MCHUGH: Right, so the double hump is  
17 something that happens in 2020, and since this is  
18 discounted, when you actually look at the present  
19 value this is smeared out? Is that correct?

20 MR. CUTTER: It's smeared out and it's  
21 also only one of the components.

22 MR. MCHUGH: Right.

23 MR. CUTTER: When you look at the chart,  
24 the purple, it's a fairly small thing when you  
25 look out over the whole year.

1           MR. MCHUGH:   And I actually had a  
2 question about this picture.   So is this the  
3 average cost for each hour over the course of a  
4 year, or is this a particular day of the year  
5 that we're looking at?   Or what is this?

6           MR. CUTTER:   This chart is the average  
7 over the whole year.

8           MR. MCHUGH:   Whole year, okay.

9           MR. CUTTER:   And it sounds like, you  
10 know, there's some questions about the Energy  
11 Code having an impact on estimates of, you know,  
12 future load growth and that sort of thing, but my  
13 understanding is that, you know, new construction  
14 is somewhere around 1.5 percent, or 2.0 percent  
15 of the total building stock.   So what happens in  
16 the Codes is it's not going to have a huge impact  
17 on what you're evaluating.   Am I getting this  
18 right?

19          MR. CUTTER:   Are you saying you wouldn't  
20 expect a big feedback loop between the impacts of  
21 the Codes and the sort of costs that we're using?

22          MR. MCHUGH:   The loads, yeah, and the  
23 avoided costs, yeah.   I mean, it seems to me it's  
24 a secondary or tertiary effect because, like I  
25 said, you know, the other 98 percent are the

1 existing buildings. And to some extent they're  
2 being updated, but they're not having the same  
3 step change that the Energy Code places on new  
4 buildings.

5 MR. CUTTER: Well, I think there's a  
6 couple ways to look at this. One the one hand  
7 when you're looking at the marginal effects, I  
8 think you're right, it probably is a small change  
9 and there may be some sort of self-attenuation in  
10 the energy market, so to the extent there are  
11 lower demands there may be lower construction of  
12 new resources, but then I think you also have to  
13 keep in mind that the timeframe of what happens  
14 in the Building Code, it's 30 years, and so I  
15 think when you look at the impacts you're going  
16 to have for that extended amount of time, I think  
17 it is a pretty big impact.

18 MR. MCHUGH: Yeah, I guess by that time  
19 you're now looking at 40 percent or so of the  
20 stock turnover. I would just try to understand a  
21 little bit about the differences between the  
22 capacity profile and that of TND, you know, you  
23 show the double hump here with capacity, yet TND,  
24 it's actual peak looks like, in terms of peak  
25 cost, is approximately right where your little

1 dip is between the two peaks for energy capacity.  
2 And I'm wondering is this somehow capturing the  
3 issue that there's additional renewables on the  
4 grid that you're not using as sort of the basis  
5 of your capacity costs, and this is why the  
6 profiles are different between the capacity costs  
7 and the TND costs?

8 MR. CUTTER: Well, the TND costs, or I  
9 should say, the allocation of TND, as you  
10 remember, right now it's still using the  
11 temperature proxy, so you're right, it doesn't  
12 actually have any way of recognizing what the  
13 actual net loads on the utility grid might be,  
14 and how that might be affected by the  
15 installation of behind the meter renewables, etc.  
16 And that's just a fact related to the way those  
17 allocation factors are currently derived. If we  
18 could get actual utility net loads and move to  
19 that sort of paradigm instead of the temperature  
20 proxies, then maybe you could capture that.

21 CHAIRMAN WEISENMILLER: I don't know,  
22 again, one is generation when you have a certain  
23 amount of smoothing over geography for, say,  
24 solar. On the other hand, if you're sizing your  
25 distribution system for, say, that subdivision,

1 you know, you have to assume there's going to be  
2 some period in your sizing for the peak at that  
3 sub. Then again, you can't quite say, oh, wait a  
4 minute, the fact is it's going to be sunny  
5 somewhere in the state, you know, I can sort of  
6 scrimp on the distribution system here. I mean,  
7 again, you come back to what is the cost, what's  
8 driving the cost, and so it's what is driving  
9 your TND system, particularly your distribution  
10 system. And again, it's going to be much more  
11 local. And certainly if you put in energy  
12 efficiency device and it doesn't work, you know,  
13 you put the load up. But again, the solar has  
14 that variability issue.

15 MR. CUTTER: Yeah, you're absolutely  
16 right. I mean, I'm sure as you know, TND  
17 planners are very conservative and they're always  
18 worried about the failure case, not only of  
19 behind the meter devices, but even of their own  
20 equipment in terms of building in the  
21 contingencies. But I think, you know, there  
22 could be some improvement perhaps of recognizing  
23 when the likely peaks of the system could be if  
24 we could actually get load data from utilities,  
25 rather than using the temperature proxies that



1 we're using. And just to give you some  
2 background, what we did back when we first did  
3 TDV, since we didn't have utility load  
4 information, we compared hourly temperatures with  
5 hourly loads for some areas that we did have, and  
6 we found a very strong correlation at that time,  
7 so we were able to use temperature as the proxy  
8 for the loads.

9 COMMISSIONER MCALLISTER: Well, so would  
10 you then -- what geographic boundaries would you  
11 use if you didn't use Climate Zone?

12 MR. CUTTER: Well, see, that's one of the  
13 challenges we had and the concerns we had about  
14 moving to more precision with the load  
15 information because then you run into the problem  
16 of, you know, different areas within the same  
17 Climate Zone, they could have very different net  
18 load profiles, and so are you really  
19 accomplishing that much by trying to move to that  
20 precision when you may need to just average out  
21 that information anyway for implementation  
22 purposes.

23 CHAIRMAN WESENMILLER: And also, it's  
24 like when you look at the utility distribution  
25 planning, it's often straight line, you know,

1 local division straight line, and then you come  
2 back to where is the population growth going to  
3 be in California, you know, how comfortable are  
4 you that you could forecast it within the  
5 different counties at substation level, not  
6 particularly the bottom line?

7 MR. CUTTER: You're absolutely right.  
8 And just because we can get more precise in the  
9 calculations doesn't mean we're going to get any  
10 more accurate with what may happen.

11 MR. MCHUGH: And with these new capacity  
12 and TD capacity factors, do you have some  
13 recommendations about on the implementation side  
14 when we're looking at reporting the results of,  
15 you know, the hourly savings from a particular  
16 measure, how to calculate the peak load reduction  
17 associated with a particular measure? You know,  
18 we try to report back not just the kilowatt hours  
19 saved, TDV KBtu, but also KW peak demand. And  
20 unlike non-coincident peak, and I'm sure we'd  
21 prefer to do something that is a little bit more  
22 sophisticated that identifies what is the impact  
23 on the grid system associated with a particular  
24 efficiency measure, I was wondering if you guys  
25 have any thoughts about how we might report peak

1 load reductions.

2 MR. CUTTER: Sure. Well, I wouldn't want  
3 to necessarily place anymore requirements on the  
4 compliance software --

5 MR. MCHUGH: No, no, yeah, this is not  
6 the software, yea.

7 MR. CUTTER: But I think you might  
8 actually have to go to that sort of level of  
9 detail because the cleanest way to report out,  
10 you know, a peak reduction number would just be  
11 to do a weighted average reduction using the same  
12 allocation factors that have been used here to  
13 allocate out that capacity value.

14 MR. MCHUGH: Just for capacity or also  
15 TND?

16 MR. CUTTER: Well, if you wanted to be  
17 really precise, you would do it separately for  
18 TND versus generation.

19 MR. MCHUGH: I see.

20 MR. CUTTER: But I'm not sure I really  
21 would place much stock in a TND number just  
22 because of the variations you really have down at  
23 the TND system.

24 MR. MCHUGH: Oh, right, okay. Okay,  
25 thank you very much.

1           MR. LOYER:  If there are no more comments  
2 in the room, I'll go to the people on the WebEx.  
3 If you have a comment, please use the raised hand  
4 feature and, George, I'm going to unmute you and  
5 we're going to go with you first.

6           MR. NESBITT:  Yes, can you hear me?

7           MR. LOYER:  Yep, you're on.

8           MR. NESBITT:  George Nesbitt, HERS Rater.  
9 Several things.  I think when we used source  
10 energy, although source energy was simple, simple  
11 to understand and graph and to sort of convert  
12 between site and source, and it was viewed  
13 against electricity, but it didn't put any value  
14 as to a kilowatt hour used at midnight have the  
15 same value as during peak, so TDV does make a lot  
16 of sense.  A couple things.  In the spreadsheets  
17 with all the hourly values for all the different  
18 climate zones, and gas and electric, and propane,  
19 and residential and nonres, it's a lot of data.  
20 It would be nice to have the average values, sort  
21 of a median value, a high-low value, for each  
22 climate zone, for each scenario.  The other thing  
23 is electricity is expressed in Btu's per kilowatt  
24 hour, natural gas Btu's per therm, and so you  
25 can't make a direct comparison as to sort of how

1 they compare, you know, how much more is  
2 electricity versus natural gas or propane, so you  
3 can't really compare those. And I don't know if  
4 any of that was in any of the bigger reports.

5           In looking at that mass data, although it  
6 may be hard to see it in that form, graph form  
7 may help, but it doesn't seem that the data  
8 really varies that much seasonally and time of  
9 day, and then you get these massive spikes at  
10 specific times, yet in reality, I mean, I think  
11 summer peak through the time of days is a lot  
12 more smooth, and when we have a serious peak I  
13 think that varies year to year, climate by  
14 climate, you know, it could happen in June as  
15 well as in July or August, and that's going to  
16 vary on weather. So I'm not sure, it's almost  
17 like maybe we're too caught up on the trees and  
18 not the forest at times, and I'm wondering if  
19 time dependent values shouldn't be a little bit  
20 more like a time of use rate, a little bit more  
21 blocks of time. And then certainly within that  
22 block, average out all the effects more evenly,  
23 rather than having a spike. The one thing I'm  
24 not sure of is, okay, we're saving time dependent  
25 value, but how that really translates back into

1 saving actual site energy or source energy, and I  
2 think really you actually need to look at that,  
3 whether we're actually saving energy. You know,  
4 are we building homes that are using less real  
5 energy per square foot? Is our per capita energy  
6 use going down? So I think that's -- and then  
7 I'd just like to actually comment back on a  
8 couple of Bob Raymer's. Where I live in the San  
9 Francisco Bay Area, I can't remember the last  
10 time I worked on a project that was 2 X 4's; 2 X  
11 6 has been standard, and probably for seismic  
12 reasons. And when you get to multi-family, it's  
13 all 2 X 6 and, you know, I think some things like  
14 continuous exterior insulation have not been  
15 common in the custom market as much, but my  
16 understanding is a fair amount of production do  
17 go to like one code stop-go and over foam, but I  
18 definitely agree, working as a HERS Rater,  
19 working with people, I work with a lot of  
20 engineers, a lot of builders who are clueless.  
21 You know, people who have been in the industry  
22 for four years, but have probably never crawled  
23 into an attic to make sure the insulator actually  
24 put something there. And just a lot of basic  
25 lack of knowledge. It's not that everyone in our

1 industry needs to be an expert, but someone needs  
2 to be expert enough to direct people to actually  
3 get things right. So, I mean, I think we  
4 struggle a lot with getting things done right in  
5 the field and that starts with the design  
6 engineering and goes down to the contractors. So  
7 I'll leave it at that.

8 MR. LOYER: Thanks, George. I think in  
9 reply to some of your comments, you know, I want  
10 to thank you for your comments and I think in  
11 general you are supportive of the same ideas that  
12 Bob had, too, to generally look at the industry  
13 and provide education, and the additional costs  
14 that we need to be aware of when we're looking at  
15 cost. As far as the TDV is concerned, I think if  
16 we look at the high-low for each of the climate  
17 zones, I think that's easily doable, that's just  
18 a spreadsheet function and that's something that  
19 we can add. But in comparing natural gas to  
20 electricity, it's a little bit more challenging.  
21 You do have to have a natural gas device  
22 comparing to an electric device, and that's the  
23 critical element. That's the critical link. And  
24 so, in trying to compare the TDV of natural gas  
25 to the TDV of electricity, in the form that it's

1 in, it's really sort of a non sequitur, but I  
2 think if you turn and look at instead of using  
3 the KBtu per kilowatt hour, the KBtu per therm,  
4 if you convert those into the dollars per  
5 kilowatt hour, dollars per therm, you might get  
6 closer to something that you might be looking  
7 for. But we can also talk off line about any  
8 other statistics or valuations of TDV that you  
9 think might be good.

10 MR. NESBITT: Yeah, well at Source Energy  
11 it was simple: therms, it was 1:1, and kilowatt  
12 hours were 3:1. And so certainly it was obvious,  
13 and more in gross value and it could be the  
14 average for each climate zone what's the value of  
15 a kilowatt hour versus a therm, and it appears to  
16 be maybe about 6:1. And I think it's important  
17 because one of the negative consequences of the  
18 rush to Net Zero Energy as being the Holy Grail  
19 is the idea you have to convert to electricity,  
20 which could increase actual source energies  
21 because we're really not going to have enough  
22 renewable and then the whole thing of -- and then  
23 moving to electrification on transportation, well  
24 great, if you're charging at night you're not  
25 necessarily using renewables. And if you're not



1 putting solar on your roof and charging it  
2 directly, you're not necessarily really using  
3 renewables. And so we do need to discourage  
4 electric use and I think we are. And the other  
5 thing is, as a user of the Energy Code, the  
6 values I get out of the software are all TDV per  
7 square foot, and so that's the gas and the  
8 electric and all the end uses, you know, it's a  
9 single number. But, yeah, I mean I agree, you  
10 can compare -- just in total, is it 6:1, 4:1, you  
11 know?

12 CHAIRMAN WEISENMILLER: Okay. Actually,  
13 George, why don't you follow up on these off line  
14 so we can move on to other comments?

15 MR. LOYER: Okay, I'm going to go ahead  
16 and mute you, George. And --

17 MR. CUTTER: While you're doing that,  
18 just to throw in on the comment, you know, I  
19 think it comes down to sometimes there's a worry  
20 of a false level of precision by doing hourly  
21 allocation, and whether that is going to drive  
22 spurious results somehow. But it's really the  
23 reverse in the sense the allocation of the  
24 capacity value, while it comes out in specific  
25 hour, behind that is a probabilistic analysis of

1 how likely are we to be short of capacity at a  
2 given hour. And then by the time we go through  
3 averaging that all out over the course of a year,  
4 you get relatively smooth shapes like you see  
5 here, and this double peak is actually an issue  
6 we do want to capture going forward because it  
7 represents a real change in the system that  
8 wouldn't be captured if we try and do a fairly  
9 simple average of TDV across the TOU period. So  
10 you actually get more of these step changes if  
11 you try and simplify the approach, whereas you  
12 get more of a smoother progression, both over  
13 time and between measures by going to this hourly  
14 analysis, which may look overly specific, but  
15 really is fundamentally probabilistic in nature  
16 and represents at the end of the day a fairly  
17 well-weighted average, that there really isn't  
18 the chance that a particular shape of a  
19 particular device is going to heavily weight it  
20 by virtue of our having allocated capacity to a  
21 particular hour.

22 MR. LOYER: Okay, should I see if George  
23 has a comment back? You still have your hand  
24 raised. George, do you have anything else that  
25 you'd like to add?

1 MR. NESBITT: No, sorry.

2 MR. LOYER: Okay, very good. No one else  
3 has their hand raised online. If there are no  
4 other comments in the room, then I think we can  
5 bring this to a close. Commissioner?

6 COMMISSIONER MCALLISTER: Nobody else  
7 online? Okay. Or on the phone? Well, great.  
8 Is there an additional comment period here? No,  
9 this is just a presentation of the final --

10 MR. LOYER: This is a presentation of the  
11 final TDV that we'll be going forward with in our  
12 2016 Rulemaking.

13 COMMISSIONER MCALLISTER: Yeah. So, you  
14 know, really a lot of progress. I think we've  
15 got sort of nice alignment for the moment, and  
16 then some issues I think that we're gaining  
17 clarity on, you know, which ones and priority on  
18 those that need to be teed up for the next go  
19 round. And so I'm quite satisfied with where we  
20 are right now. I mean, obviously it's been a lot  
21 of work and these decisions about how to approach  
22 the methodological decisions obviously have had a  
23 lot of brain power on them, and I think we've  
24 come to reasonable compromises where we need to  
25 and are in kind of a good spot. I think John's

1 point that it's pretty stable and, you know,  
2 several people have said, you know, including the  
3 E3 folks, that we are talking about kind of  
4 marginal impacts, you know, fundamental changes  
5 don't tend to happen, it's really kind of making  
6 sure that we're tweaking it in the right ways  
7 incrementally as we go forward and that the  
8 results are pretty robust. You know, changing  
9 assumptions here or there is not going to change  
10 radically the results we get. So I think we have  
11 a good tool to move forward with for the 2016  
12 round and, you know, this will be a resource  
13 along the lines of the Demand Forecast, where  
14 it's something we do, a lot of brain power, a lot  
15 of effort goes into it, and then it's a nice  
16 foundational resource for the state moving  
17 forward. So I'm happy with where we are, and  
18 thanks for the presentations, and thanks you guys  
19 for all the work you put in on this.

20 CHAIRMAN WEISENMILLER: Also, again, I  
21 would like to thank folks for their participation  
22 today, and staff, and E3 for the work that's been  
23 done. Again, my takeaway is one that results do  
24 not seem to be remarkably sensitive to some  
25 obscure methodological tweak, but sort of flow

1 out. Certainly we are seeing that the utility  
2 system is changing around us, I think, in terms  
3 of as climate and everything else is changing.  
4 But again, I think moving in the general  
5 direction is good.

6 I think the other aspect that obviously  
7 in these areas you always have models, you have  
8 assumptions, you know, the modelers all of whom  
9 interact in their fashion. But the basic most  
10 important assumption, it seems like gas prices  
11 really flow out of things we adopted for the IEPR  
12 for use generally, it's not like we then ran off  
13 and came up with a special set of assumptions to  
14 justify these forecasts, as much as this all --  
15 it's pretty much gas price is a very joint Energy  
16 Commission and PUC, and so again I think it's  
17 allowing for consistency across some of our  
18 decisions. So again, thanks.

19 MR. LOYER: With that, I'd like to thank  
20 everybody for attending on the WebEx and here in  
21 person, and we'll bring this workshop to a close.  
22 Thank you very much.

23 (Whereupon, at 11:23 a.m., the workshop was  
24 adjourned.)

25 --o0o--




**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 18th day of July, 2014.



---


PETER PETTY  
CER\*\*D-493  
Notary Public

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 18th day of July, 2014.



---

Barbara Little  
Certified Transcriber  
AAERT No. CET\*\*D-520