

DOCKETED

Docket Number:	15-AFC-01
Project Title:	Puente Power Project
TN #:	210944
Document Title:	Transcript of 03/28/16 Committee Status Conference
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Committee
Submission Date:	4/5/2016 7:51:16 AM
Docketed Date:	4/5/2016

BEFORE THE ENERGY RESOURCES CONSERVATION AND DEVELOPMENT
COMMISSION OF THE STATE OF CALIFORNIA

In the Matter of:)
)
Application for Certification for)
the PUENTE POWER PROJECT) Docket No. 15-AFC-01
_____)

COMMITTEE STATUS CONFERENCE

CALIFORNIA ENERGY COMMISSION
CHARLES IMBRECHT HEARING ROOM
(HEARING ROOM B)
1516 NINTH STREET
SACRAMENTO, CA 95814

MONDAY, MARCH 28, 2016
2:00 P.M.

Reported by:
Peter Petty

APPEARANCES

HEARING OFFICER

Raoul Renaud, Hearing Officer

COMMISSIONERS

Janea Scott, Presiding Member

Karen Douglas, Associate Member

ADVISERS

Rhetta deMesa, Adviser to Commissioner Scott

Courtney Smith, Adviser to Commissioner Scott

Jennifer Nelson, Adviser to Commissioner Douglas

Le-Quyen Nguyen, Adviser to Commissioner Douglas

Kristy Chew, Commissioners' Technical Adviser for Energy Facility Siting

STAFF

John Hilliard, Staff Siting Project Manager

Jared Babula, Staff Counsel

Gerald Bemis, Air Quality CEC

Jacquelyn Leyva, Air Quality CEC

PUBLIC ADVISOR

Shawn Pittard, Public Adviser's Office

APPEARANCES (Cont.)

APPLICANT

Michael J. Carroll, Esq., Latham & Watkins, LLP

George Piantka, PE, NRG Energy, Inc

Thomas Andrews, Sierra Research

INTERVENERS (via WebEx)

Brian Segee, Environmental Defense Center
Environmental Coalition/Environmental Defense Center/Sierra Club Los
Padres Chapter

Edward T. Schexnayder, Shute, Mihaly & Weinberger
City of Oxnard

ALSO PRESENT (via WebEx)

Tom Luster, California Coastal Commission

Kerby Zozula, Ventura County Air Pollution Control
District (VCAPCD)

PUBLIC (via WebEx)

Shana Lazerow, California Environmental Justice Alliance

I N D E X

	Page
Meeting Agenda	
1. Call to Order: Introductions	5
2. Hearing on Any Pending Motions	--
3. Status Conference	10
a. Case progress and schedule	
4. Public Comment	22
5. Closed Session	26
Adjournment	26
Reporter's Certificate	27
Transcriber's Certificate	28

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

MARCH 28, 2016 2:05 p.m.

COMMISSIONER SCOTT: Good afternoon,

everybody. I am Commissioner Janea Scott and we're going to go ahead and get started.

This is a Status Conference that's being conducted by a Committee of the California Energy Commission regarding the Puente Power Project. The Energy Commission Chair has assigned a committee of two Commissioners to conduct these proceedings.

As I mentioned, I am Commissioner Janea Scott, and I am the Presiding Member of the Committee. My advisers are Rhetta deMesa and Courtney Smith. They are both here to my left.

And to my right is Commissioner Karen Douglas, the Associate Member on the Committee. And her advisers are Jennifer Nelson and Le-Quyen Nguyen. Kristy Chew is up here and then right -- oh, Kristy Chew is in the audience.

To my right is Raoul Renaud, who is the Hearing Officer assigned to this case.

So at this time, I would like to ask the parties to please introduce themselves and their representatives. And we'll start with the Applicant, NRG Energy.

1 MR. CARROLL: Good afternoon, Mike Carroll,
2 Attorney Mike Carroll, with Latham & Watkins on behalf
3 of the Applicant. And on my right is George Piantka,
4 also with the Applicant, and also with us today is
5 Tom Andrews with Sierra Research. Thank you.

6 COMMISSIONER SCOTT: Terrific, welcome.
7 And I'll turn now to staff to introduce
8 themselves.

9 MR. HILLIARD: Okay. My name is John
10 Hilliard. I'm the Siting Project Manager.

11 MR. BABULA: Jared Babula, Staff Counsel.

12 COMMISSIONER SCOTT: Excellent, welcome.

13 Let me turn to the Interveners. Do we have
14 anyone from Environmental Defense Center,
15 Environmental Coalition, Sierra Club Los Padres
16 Chapter on the phone, or here in the room?

17 MR. SEGEE: Yes, good afternoon. This is
18 Brian Segee with Environmental Defense Center for the
19 three Interveners.

20 COMMISSIONER SCOTT: Terrific, welcome Brian.

21 MR. SEGEE: Thank you.

22 COMMISSIONER SCOTT: Do I have any
23 Interveners from the City of Oxnard? City of Oxnard?
24 Okay. We'll circle back --

25 MR. SCHEXNAYDER: Oh, yes. Good afternoon.

1 This is Edward Schexnayder with Shute, Mihaly &
2 Weinberger and for the City of Oxnard.

3 COMMISSIONER SCOTT: Excellent, welcome.

4 And do I have Robert Sarvey? Robert Sarvey?

5 (No audible response.)

6 Okay. We will -- then I'd like to introduce
7 to you our Public Adviser who's Shawn Pittard. He's
8 right there in the back of the room waving at you.
9 He's got the blue cards for anyone who'd like to make
10 a public comment.

11 And then let me turn to any agencies. Do we
12 have any elected officials on the phone at all or on
13 the WebEx? I don't see any in the room.

14 How about representatives from the Federal
15 Government? Do we have any representatives from the
16 Federal Government on the phone?

17 (No audible response.)

18 Okay. How about any agencies of the State of
19 California?

20 MR. LUSTER: Thank you, Commissioner. This
21 is Tom Luster with the Coastal Commission.

22 COMMISSIONER SCOTT: Welcome, Tom.

23 Any others?

24 (No audible response.)

25 Okay. How about representatives from Native
CALIFORNIA REPORTING, LLC
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 American tribes?

2 (No audible response.)

3 Any representatives from the Ventura County
4 Air Pollution District?

5 MR. ZOZULA: Hi, this is Kerby Zozula,
6 Ventura County APCD.

7 COMMISSIONER SCOTT: Hello, Kerby. Welcome.

8 Do we have representatives from Ventura
9 County or any nearby towns or cities or any other
10 agencies that I may have not called out? Any other
11 agencies on the phone who would like to introduce
12 themselves?

13 (No audible response.)

14 All right, and let me just circle back to
15 see whether or not intervener Robert Sarvey has
16 joined in the interim.

17 (No audible response.)

18 Okay. Great, thank you everyone for your
19 introductions. And at this time I will hand the
20 conduct of the Status Conference over to the Hearing
21 Officer Raoul Renaud.

22 HEARING OFFICER RENAUD: Thank you,
23 Commissioner Scott.

24 Just a bit of housekeeping for those present
25 in the room, the microphones here you'll see when

1 they're live they have a red ring around them. We can
2 only have four live at any one time, so the best
3 thing is to turn yours off when you're not speaking.
4 And that way we'll make sure that the sound all goes
5 out to the world out there.

6 Okay. So this Status Conference was
7 scheduled in a notice that was dated March 11, 2016.
8 And this is the first Status Conference being held on
9 the Puente Power Project.

10 The purpose of the Status Conference is to
11 inform the Committee about any changes made to the
12 Application for Certification and the progress the
13 parties are making on the review of the AFC. We'll
14 then discuss staff's proposed schedule with the
15 parties. And after the Status Conference the
16 Committee will issue a Revised Scheduling Order.

17 We'll proceed today by first hearing from
18 the Applicant with any status updates, followed by
19 representatives of the Energy Commission staff, and
20 followed by the Interveners regarding the current
21 status of the case. We'll then provide an opportunity
22 for the general public to comment.

23 After that the Committee may go into Closed
24 Session. If the Committee does that, at the
25 conclusion of the Closed Session, I will return to

1 adjourn the Status Conference.

2 So let's proceed first with the Applicant.
3 Do you have any status update you'd like to present
4 to the Committee at this time?

5 MR. CARROLL: Yes, thank you. And we thank
6 the Committee for convening this Conference.

7 We had been seeing a need to revisit the
8 schedule and establish some new dates and renew our
9 commitment to meet those dates. So we appreciate the
10 Committee scheduling this conference, so that we can
11 address the scheduling issues.

12 The application has been pending coming up
13 on a year now. And we're not placing any blame for
14 delay at anyone's feet and we acknowledge that there
15 have been some modifications to the project that the
16 Applicant has made. And that in part that has slowed
17 the review a bit. But it is what it is and we are
18 coming up on a year, and so we are anxious to have a
19 schedule established by the Committee and to adhere
20 to that.

21 And we think we're in a good position at
22 this point to do that. Our understanding is that the
23 issuance of the PDOC is imminent, that it's actually
24 been prepared and is undergoing a sort of final
25 technical editing by the Air District, and should be

1 issued shortly.

2 We've had a very robust discovery period in
3 connection with this matter. A lot of data requests
4 and a lot of responses to those data requests. We
5 think that that has served to frame up the issues
6 quite well.

7 There has been some discussion of
8 substantive issues involving the parties at the CPUC,
9 which I think is whether that was appropriate or not.
10 We feel that is probably not a matter for debate
11 here, but the fact of the matter is that that did
12 help frame up the issues as well. And so we think
13 that given the extensive discussion that's taken
14 place on the issues, and the fact that the PDOC is
15 ready to be issued, that we're at a good point to
16 establish an aggressive schedule and move forward on
17 that basis.

18 Staff included a proposed schedule in its
19 Status Report Number 5. We think that that's a
20 schedule that makes sense and is achievable and
21 something that we would be prepared to support. And
22 urge the Committee to consider issuing an order
23 consistent with the staff's proposed schedule.

24 Thank you.

25 HEARING OFFICER RENAUD: All right, thank you
 CALIFORNIA REPORTING, LLC 11
 52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 Mr. Carroll.

2 Just one question on behalf of the
3 Committee, the Applicant did file what you called a
4 Refinement Document. And in looking that over, it
5 appears that the Applicant's intention is to add the
6 demolition and removal of Units 1 and 2 to the entire
7 project, which is being reviewed. And I just wanted
8 confirmation that that was the intent of that.

9 MR. CARROLL: Yes, that is correct.

10 HEARING OFFICER RENAUD: Good. Okay, thank
11 you.

12 All right, let's turn to -- oh,
13 Commissioners, before we proceed to staff's report,
14 any questions or comments?

15 COMMISSIONER SCOTT: None.

16 HEARING OFFICER RENAUD: All right, staff?

17 MR. HILLIARD: Thank you, this is John
18 Hilliard with the Siting Unit.

19 Our Status Report was pretty self-
20 explanatory in terms of the closure of discovery
21 period happening on March 7th. We received two
22 additional data requests on that dates, so those are
23 still pending.

24 The other thing is that we've recorded a
25 Record of Conversation between Air Quality staff

1 and --

2 UNIDENTIFIED MALE SPEAKER: Excuse me? The
3 connection's kind of fuzzy. I'm having trouble
4 hearing staff.

5 MR. HILLIARD: Okay. Can you hear me now?

6 UNIDENTIFIED MALE SPEAKER: That's a little
7 better.

8 HEARING OFFICER RENAUD: Okay.

9 (Colloquy regarding audio.)

10 MR. HILLIARD: Okay. Anyway, I'll go ahead
11 and reiterate, we had the closure of discovery period
12 that happened on March 7th. We received two
13 additional data requests from Interveners, from
14 Mr. Sarvey as well as the City Of Oxnard. Those are
15 still pending.

16 I also wanted to call the Committee's
17 attention to the Record of Conversation that was
18 docketed on Friday. This has to do with the timing of
19 the Ventura County Air Pollution Control District's
20 release of Preliminary Determination of Compliance.

21 We had anticipated in a lot of the
22 scheduling material we've been providing to you for
23 the last couple of status reports, receiving that
24 sometime toward the end of March. It is now -- the
25 indication is from the District that may not happen

1 until the end of April. So what we've been doing is
2 consistently been tiering (phonetic) off of that with
3 an additional month to publish the PSA. So if there
4 were decisions made on scheduling.

5 And perhaps -- I know that Kerby's on the
6 phone from the Air District -- he could chime in a
7 little bit as well as our own Air Quality staff who
8 are here, Gerry Bemis and Jacqui Leyva, if they want
9 to try to help round out any information you might
10 want on that regard. Otherwise I don't have anything
11 else, but I can answer your questions.

12 HEARING OFFICER RENAUD: All right, thank you
13 very. Again, with respect to the Refinement Document
14 adding the demolition and removal of Units 1 and 2 to
15 the project, I'm sure you're aware of that. And we
16 just wanted to confirm that the staff is viewing that
17 now as part of the AFC and it's being reviewed as
18 part of the AFC?

19 MR. HILLIARD: Yes. That's being folded into
20 the entire document --

21 HEARING OFFICER RENAUD: Very good.

22 MR. HILLIARD: -- and to all the technical
23 sections.

24 HEARING OFFICER RENAUD: All right, thanks.

25 And as far as the schedule is concerned,

1 we'll discuss that a little bit more later on, but it
2 does appear that the staff is viewing -- the timing
3 for the Preliminary Staff Assessment is basically 30
4 days after issuance of the PDOC.

5 MR. HILLIARD: Yeah, that's been the kind of
6 rule of thumb we've been exercising.

7 HEARING OFFICER RENAUD: All right. Okay,
8 thank you.

9 Commissioners, anything?

10 COMMISSIONER DOUGLAS: No.

11 HEARING OFFICER RENAUD: All right.

12 Okay, let's see, Interveners? Let's see if
13 Brian Segee -- do you have anything to inform the
14 Committee about with respect to status of the case?

15 MR. SEGEE: Sure, Brian Segee for Interveners
16 Environmental Defense Center, Environmental
17 Coalition, and Sierra Club Los Padres Chapter.

18 Nothing too substantive to add, I just would
19 counter the Applicant's statement in terms of the
20 length of time this has taken. I think it's certainly
21 been part of the process so far and so hope that the
22 Commission doesn't rush on the decision.

23 And then just one note on the schedule
24 announcement, to jump ahead but related to that, it
25 looked like the most recent proposed schedule on

1 March 15th scaled back the comment period on the PSA
2 from 45 to 30 days? So we would advocate for at least
3 that original 45-day comment period and a 60-day
4 comment period if possible.

5 HEARING OFFICER RENAUD: All right, thank
6 you. You're advocating then for a 45-day comment
7 period on the PSA, is that?

8 MR. SEGEE: Well, that's what it was in the
9 prior scheduling order, I believe, so at least that
10 minimum. And just particularly since this is a CEQA
11 equivalent document, and this is the main
12 environmental analysis, and a opportunity for public
13 input on this project at any of the stages
14 (indiscernible) So we think it's particularly
15 important to have a full opportunity for public
16 review and comment.

17 HEARING OFFICER RENAUD: All right, well
18 thank you for that. The Committee will take that
19 into account in considering the schedule, in
20 preparing the Scheduling Order. We appreciate that.

21 MR. SEGEE: Thank you.

22 HEARING OFFICER RENAUD: All right, let's
23 turn to the Intervener City of Oxnard.

24 Mr. Schexnayder, anything to say?

25 MR. SCHEXNAYDER: Hi, yes. I would just like
CALIFORNIA REPORTING, LLC
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 to echo the comment for having a robust period of
2 time for public review.

3 You know, one of the things that the City
4 has noted with the Applicant's materials is that
5 there are significant concerns about the Air Quality
6 Analysis for this project. And without having the
7 benefit of the PDOC in front of us, we do think that
8 that's going to require a very robust review,
9 especially to see if there's any PSD permitting
10 triggers in there.

11 And so allowing for the month period after
12 the release of the PDOC and then a 45-to-60 day
13 comment period would be appropriate to give both the
14 City, the public and other agencies sufficient time
15 to review those materials.

16 HEARING OFFICER RENAUD: All right. All
17 right, thank you for that.

18 Anything further for the Committee?

19 (No audible response.)

20 All right, questions or comments by the
21 Committee Members?

22 COMMISSIONER SCOTT: Do you want to check on
23 the line, if Sarvey has joined us?

24 HEARING OFFICER RENAUD: Yes, I will. Thank
25 you.

1 Yes, Intervener Robert Sarvey? We just
2 wanted to find out if you've joined us and give you
3 an opportunity to speak.

4 (No audible response.)

5 No, all right. Okay. So --

6 MR. CARROLL: Mr. Renaud, may I speak --

7 HEARING OFFICER RENAUD: Yes please,

8 Mr. Carroll?

9 MR. CARROLL: -- to you now with respect to
10 schedule, if you're moving off from that?

11 HEARING OFFICER RENAUD: We are.

12 MR. CARROLL: As you know, and as you've
13 heard, we have some active interveners in connection
14 with this matter. Our expectation is that that will
15 mean that the process is likely to take longer than
16 it otherwise would, which I think further suggests
17 being relatively aggressive about the schedule in
18 anticipation of potential slippage down the road.

19 If the Committee were to entertain some of
20 the more extended comment periods that were just
21 requested in connection with the PDOC and/or the PSA,
22 I'd like you to consider whether it would be
23 appropriate to run those in parallel as opposed to
24 sequential? If that was something -- and we're not
25 advocating for that -- we think the traditional 30-

1 day comment periods should be sufficient. But if you
2 were to entertain a somewhat longer comment period
3 with respect to either of those documents, the
4 Committee might consider running those comment
5 periods in parallel.

6 In other words, having the PDOC and the PSA
7 out on the streets and available for review and
8 comment as opposed to the more traditional approach
9 which is sequential.

10 HEARING OFFICER RENAUD: All right, thank you
11 again for that. And the Committee will take that into
12 consideration in developing the schedule. We
13 appreciate you sharing that.

14 Anything further from parties before we
15 proceed to discussion of the schedule?

16 (No audible response.)

17 All right, now as Mr. Hilliard pointed out
18 we do have a new filing, a Record of Conversation
19 regarding a conversation with Ventura County Air
20 Pollution Control District. I know we have a
21 representative of the District on the phone and I
22 wondered if you might want to give us a status update
23 on the preparation of the PDOC?

24 MR. ZOZULA: Hi, this is Kerby Zozula with
25 the Ventura County APCD.

1 As most people are not familiar with our
2 PDOC process the District subcontracted out with the
3 San Joaquin Valley Air Pollution Control District.
4 We've never done a CEC project in our history here.
5 And so when we received San Joaquin's proposed PDOC
6 sent to us a couple of weeks ago we've been working
7 with them actively to dot the "I"s and cross all the
8 "T"s.

9 I talked to CEC staff on Thursday, and we
10 are going (indiscernible) announced to the Board at
11 the end of April or early May. It may happen before
12 that, but I can't come into that yet.

13 HEARING OFFICER RENAUD: All right, so would
14 you say then that the end of April or beginning of
15 May is still a pretty accurate assessment?

16 MR. ZOZULA: Yes.

17 HEARING OFFICER RENAUD: All right, thank you
18 for that.

19 Any questions or comments for the
20 Representative of the District, anybody?

21 COMMISSIONER DOUGLAS: No.

22 HEARING OFFICER RENAUD: No, all right. Good.

23 I know we also have Tom Luster from the
24 Coastal Commission on the phone. Let me ask,
25 Mr. Luster, if you have anything to say that might

1 assist the Committee in preparing the updated
2 schedule for the project?

3 MR. LUSTER: Sure, thanks very much.

4 Our main concern is that we have enough time
5 between the issuance of the PSA and our Coastal
6 Commission meeting, where the Commission would
7 consider our 30413(d) Report, to get that to you.

8 The timing kind of depends on when exactly
9 the PSA comes out during the month. Our Commission
10 meetings are generally the second week of each month.
11 So if -- and we have to prepare our report and
12 publish it about two weeks before that hearing.

13 So a PSA that came out in the latter half of
14 the month, probably couldn't make the following
15 month's Coastal Commission meeting. Whereas, if a PSA
16 was issued during the beginning of the month, we have
17 a chance to make the subsequent month's hearing.

18 And so for that reason, I think we would
19 prefer at least a 45-day period between the PSA and
20 the FSA to allow us to get our report to our
21 Commission for a decision and then get back to you.

22 Does that make sense?

23 HEARING OFFICER RENAUD: It does to me. Let
24 me ask the representative of the staff, Mr. Hilliard.

25 How does that sound to you in terms of its

1 effect on your preparation of the PSA?

2 MR. HILLIARD: It's fine in terms of the
3 preparation of the FSA, because per our MOA they
4 would endeavor to provide that prior to our Final
5 Staff Assessment. We have a couple of weeks to look
6 at it, at the conclusion of their mid-month meeting.
7 So we've been communicating with Tom to try to work
8 that out.

9 HEARING OFFICER RENAUD: All right, great.
10 Thank you.

11 MR. LUSTER: But I should add that the
12 schedule that is on the most recent Status Report, it
13 looks like that would allow us enough time then, the
14 relationship between the PSA date and our expected
15 hearing date.

16 HEARING OFFICER RENAUD: Okay, good. Thank
17 you very much for that.

18 Okay, let me again see if the Members of the
19 Committee have any questions or comments?

20 All right, good. I think then we would be
21 ready to move into public comment period. Let me ask
22 first if there's anyone in the room here who would
23 like to make a public comment regarding this matter?

24 All right, seeing none let me turn to those
25 on the phone. Anyone who's on the phone would you

1 like to make a public comment? If so, just please
2 speak up. If there's more than one of you, we'll
3 sort that out.

4 MS. LAZEROW: Good afternoon, my name is
5 Shana Lazerow. I'm a representative of the California
6 Environmental Justice Alliance. And we submitted a
7 Petition for Intervention this morning in this
8 matter. I wasn't sure whether this was the point at
9 which the Committee would be interested in
10 considering any pending motions.

11 HEARING OFFICER RENAUD: All right, thank
12 you. We did receive the Petition to Intervene. And
13 it's not really considered a motion that would need
14 to be addressed or argued before the Committee. The
15 Committee will consider that as a written petition
16 and consider it under our regulations and issue an
17 order on it quite soon, so there's nothing that you
18 need to say this morning or this afternoon.

19 You're welcome to speak, of course, but
20 there's nothing that we need from you as far as being
21 able to consider the Petition to Intervene. But thank
22 you for attending.

23 MR. LAZEROW: That's fine. Thank you.

24 HEARING OFFICER RENAUD: Okay, anyone else on
25 the phone that would like to a comment?

1 (No audible response.)

2 Okay. Thank you. All right, the --

3 MR. PIANTKA: I'm sorry, I'm --

4 HEARING OFFICER RENAUD: Yes, Mr. Piantka, go
5 ahead.

6 MR. PIANTKA: -- George Piantka with the
7 Applicant. And one of the key parts of the schedule
8 is going to be the PSA workshop. And, you know, in
9 looking at again the staff schedule, we've been
10 anticipating that schedule and looking for dates. And
11 the date of late May could work for a PSA workshop.

12 Now, the schedule is going to be coming out
13 in the scheduling order and we have a number of dates
14 that we think will also work in June. So I think
15 that's a key part for us.

16 We really want to be able to secure the
17 location and assume it would be in Oxnard, assume we
18 would look for the location similar to the
19 informational meeting. So we're really anticipating
20 -- but again there are a lot of good dates in June to
21 have a workshop if the schedule so aligns.

22 HEARING OFFICER RENAUD: All right, do you
23 have specific dates in mind you want to tell us
24 about? Not that we could necessarily fit those in,
25 but if you know of specific dates you would like to

1 inform us of that it might be useful information.

2 MR. PIANTKA: You know, as Mike Carroll said
3 earlier, if you're looking at an opportunity where
4 the PDOC and the PSA run parallel, we would
5 anticipate the workshop should be within the comment
6 period on those documents. So it really depends on
7 when the PSA comes out.

8 If it did come out, for example, at the end
9 of May then a mid-June could work. I mean just aware
10 of some dates and kind of looking at Thursdays or,
11 for example June 9th, June 16th, are among some dates
12 that are available. Even the following week there's a
13 couple of dates in the latter part of June that are
14 also available at the Community Center in Oxnard.

15 So we're anxious to try to help all the
16 community, all the current parties that will
17 participate and secure a date in advance.

18 HEARING OFFICER RENAUD: All right, thank
19 you. That's helpful to the Committee and we'll again
20 take that into account in preparing the new
21 scheduling order.

22 All right, the Committee is now going to go
23 into Closed Session. As indicated in the notice the
24 Closed Session will be conducted in accordance with
25 Government Code Section 11126(c)(3), which allows a

1 State Body including a delegated committee, to hold a
2 Closed Session to deliberate on a decision to be
3 reached in a proceeding the State Body was required
4 by law to conduct.

5 So the Committee will be discussing the
6 Scheduling Order. When the Closed Session is over I
7 will return to adjourn the meeting. I don't think
8 there's any reason for anyone to hang around and wait
9 for that. There won't be much other than my saying,
10 "The meeting is now adjourned."

11 Before we do that, let me just ask if any
12 other Members of the Committee have closing remarks
13 you'd like to make before we -- please?

14 COMMISSIONER SCOTT: Well, I do not. I just
15 thank all the parties for the status update today.

16 HEARING OFFICER RENAUD: All right. Thank you
17 then. We will adjourn into Closed Session. Thank you.

18 (Adjourned at 2:32 p.m.)


19
20
21
22
23
24
25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 4th day of April, 2016.



PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 4th day of April, 2016.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852