

## DOCKETED

<b>Docket Number:</b>	15-BUSMTG-01
<b>Project Title:</b>	Business Meeting Transcripts
<b>TN #:</b>	205319
<b>Document Title:</b>	Transcript of the June 10, 2015 Business Meeting
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	7/10/2015 2:41:15 PM
<b>Docketed Date:</b>	7/10/2015



APPEARANCES

Commissioners Present

Robert B. Weisenmiller, Chair  
Karen Douglas, Vice Chair  
David Hochschild  
Andrew McAllister  
Janea Scott

Staff Present:

Rob Oglesby, Executive Director  
Kourtney Vaccaro, Chief Counsel  
Alana Mathews, Public Advisor  
Shawn Pittard, Public Advisor's Office

	<u>Item No.</u>
John Hilliard	3
Dale Rundquist	4
Jeff Ogata	4
Maziar Shirakh	5
Payam Bozorgchami	5
Peter Strait	5
Pippin Brehler	5
Mark Alatorre	5
Bill Pennington	5
Lynette Green	6
Barry McLeod	7
Paula David	8, 9
Maunee Berenstein	10
Aniss Bahreinian	12
Reta Ortiz	13
Susan Wilhelm	14
Eli Harland	15
Leah Mohny	16
Mark Koostra	17
Samantha Arens	17
David Stoms	18
Reynaldo Gonzalez	19
Prab Sethi	20
Kevin Uy	21
Elyse Cheung-Sutton	22
Lindsee Tanimoto	23

APPEARANCES (Contin.)

**Also Present**

<u>Interested Parties</u>	<u>Agenda Item</u>
Dawn Gleiter, NRG Energy Inc.	3
Michael Carroll, Latham Watkins	3
Glen Casanova, ACE (Cobia Capital)	4
Chris Ellison, Ellison Schneider & Harris	4
Paul Fortunato, WCEC	8
Kelly Cunningham, CLTC, UC Davis	9
*Peter Lehman, Schatz Energy Research Cntr.	15
*Jane Ganion, Blue Lake Rancheria	15
Mark Williams, LGVSD	21

Public Comment

Ross May, SVM	4
Bob Raymer, CBIA	5
Meg Waltner, NRDC	5
Manuel Alvarez, SCE	5
Lindsey Stovall, ACC	5
Curt Rich, NAIMA	5
Rick Miller, RNM Engineering	5
*Aniruddh Roy, Goodman	5
*George Nesbitt	5
*Abhijeet Pande, TRC	5
Scott Wetch, IBEW, CCUE	5
Mike Stone, IAEIN	5
Brett Barrow, NECA	5
Valerie Winn, PG&E	5
Tom Enslow, IBEW	5
Craig Ochoa, Morro Meadows Corp.	5
Gene Thomas, Ecology Action	5
Mark Muzzo, Collins Electrical Co., Inc.	5
Bernie Kotlier, IBEW, NECA	5
*Leslie Kramer, Stanford University	5
*Bob Fritch, Stanford	5
Tamara Raspberry, SDG&E	5
*Elizabeth Russell, AMBAG	5
*David Jacot, LADWP	5
*Tanya Hernandez, Acuity Brands	5
*Michael Jouaha, Lutron	5
*Michael McMahan, TRC	5
*Matt Tracy, Enlight	5
*Brian Wilcox, Feit Electric	5
*Theron Makley, Once Innovations	5
*Jay Martin	5

APPEARANCES (Contin.)

**Also Present**

<u>Interested Parties</u>	<u>Agenda Item</u>
*Don Link, Controlled Energy	5
Tim Tutt, SMUD	6
*Philip Muller, Ormat Technologies	6
Steven Kelly, IEP	6

I N D E X

	Page
Proceedings	9
Items	
1. CONSENT CALENDAR.	10
a. PALMDALE HYBRID POWER PLANT OWNERSHIP TRANSFER (8-AFC-9C) .	
b. CALIFORNIA AIR RESOURCES BOARD.	
c. GOVERNOR'S OFFICE OF BUSINESS AND ECONOMIC DEVELOPMENT.	
2. ENERGY COMMISSION COMMITTEE APPOINTMENTS.	Held
3. PUENTE POWER PROJECT (15-AFC-01) .	11
a. Possible approval of an order adopting the Executive Director's data adequacy recommendation for the Puente Power Project.	
b. Possible appointment of a siting committee for the Puente Power Project.	
4. ARGUS COGENERATION EXPANSION (ACE) (86-AFC-1C) .	17
5. 2016 BUILDING ENERGY EFFICIENCY STANDARDS (15-BSTD-01) .	33
a. NEGATIVE DECLARATION.	
b. 2016 UPDATE TO BUILDING ENERGY EFFICIENCY STANDARDS.	
6. POSSIBLE ADOPTION OF THE STAFF FINAL RENEWABLES PORTFOLIO STANDARD ELIGIBILITY GUIDEBOOK, 8TH EDITION (RPS GUIDEBOOK) .	187
7. CITY OF DAVIS. Proposed resolution approving Agreement 005-14-ECD with the City of Davis.	207
8. UNIVERSITY OF CALIFORNIA, DAVIS.	209
9. UNIVERSITY OF CALIFORNIA, DAVIS.	209
<b>CALIFORNIA REPORTING, LLC</b> 52 Longwood Drive, San Rafael, California 94901 (415) 457-4417	<b>5</b>

I N D E X

Items	Page
10. UNIVERSITY OF CALIFORNIA, BERKELEY.	216
11. UNIVERSITY OF CALIFORNIA, IRVINE.	Held
12. RESOURCE SYSTEMS GROUP.	218
13. ASPEN ENVIRONMENTAL GROUP.	221
14. UNIVERSITY OF CALIFORNIA, SAN DIEGO.	
15. DEMONSTRATING SECURE, RELIABLE MICROGRIDS AND GRID-LINKED ELECTRIC VEHICLES TO BUILD RESILIENT, LOW-CARBON FACILITIES AND COMMUNITIES, PON-14-301.	225
a. CHARGE BLISS, INC.	
b. HUMBOLDT STATE UNIVERSITY.	
16. BRINGING ENERGY EFFICIENCY SOLUTIONS TO CALIFORNIA'S INDUSTRIAL, AGRICULTURE AND WATER SECTORS, PON-14-304.	234
a. POWWOW ENERGY, INC.	
b. ASETEK USA, INC.	
17. DEMONSTRATING CLEAN ENERGY SOLUTIONS THAT SUPPORT CALIFORNIA'S INDUSTRIES, THE ENVIRONMENT, AND THE ELECTRICAL GRID, PON-14-307.	239
a. SIERRA INSTITUTE FOR COMMUNITY AND ENVIRONMENT.	
b. BAY AREA CLIMATE COLLABORATIVE.	
c. ABEC #4, LLC.	
d. UNIVERSITY OF CALIFORNIA, DAVIS.	
18. U.S. GEOLOGICAL SURVEY.	248

I N D E X

Items	Page
19. DRIVING THE INTEGRATION OF ELECTRIC VEHICLES TO MAXIMIZE BENEFITS TO THE GRID, PON-14-310.	254
a. CENTER FOR SUSTAINABLE ENERGY.	
b. CHARGEPOINT, INC.	
c. ELECTRIC POWER RESEARCH INSTITUTE, INC.	
20. ELECTRIC POWER RESEARCH INSTITUTE, INC.	258
21. ADVANCING CLEAN ENERGY FROM BIOGAS, BIOMETHANE AND NATURAL GAS, PON-14-505.	259
a. GAS TECHNOLOGY INSTITUTE.	
b. GAS TECHNOLOGY INSTITUTE.	
c. LAS GALLINAS VALLEY SANITARY DISTRICT.	
d. MOSAIC MATERIALS, INC.	
e. BIOGAS ENERGY INC.	
f. UNIVERSITY OF CALIFORNIA, SAN DIEGO.	
g. ELECTRIC POWER RESEARCH INSTITUTE, INC.	
22. CALSTART, INC.	267
23. ZERO EMISSION VEHICLE (ZEV) READINESS, PON-14-607.	270
a. CITY OF OAKLAND.	
b. CITY OF PALM SPRINGS.	
c. SOUTHERN CALIFORNIA ASSOCIATION OF GOVERNMENTS.	
24. Minutes: Possible approval of the May 13, 2015, Business Meeting Minutes.	281

I N D E X

	Page
Items	
25. Lead Commissioner or Presiding Member Reports.	281
26. Chief Counsel's Report:	288
a. <i>Asphalt Roofing Manufacturers Association v. Energy Commission (Third District Court of Appeal # C076990).</i>	
b. <i>In the Matter of U.S. Department of Energy (High Level Waste Repository), (Atomic Safety Licensing Board, CAB - 04, 63-001-HLW).</i>	
c. <i>Communities for a Better Environment and Center for Biological Diversity v. Energy Commission (Court of Appeal, First Appellate District, # A141299).</i>	
d. <i>Energy Commission v. SoloPower, Inc. and SPower, LLC. (Sacramento County Superior Court # 34-2013-00154569).</i>	
27. Executive Director's Report.	289
28. Public Adviser's Report.	290
29. Public Comment.	271
Adjournment	290
Reporter's Certificate	291
Transcriber's Certificate	292

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

P R O C E E D I N G S

JUNE 10, 2015 10:04 a.m.

CHAIRMAN WEISENMILLER: Okay, let's start the Business Meeting with the Pledge of Allegiance.

(Whereupon, the Pledge of Allegiance was recited in unison.)

CHAIRMAN WEISENMILLER: So in terms of today's Business Meeting, Item 2 and Item 11 are being held. In terms of people who want to comment on Item 5, the Building Standards, we're going to split the comments into comments on the Residential Standards, and then the Nonresidential Standards. So if you could see our Public Advisor and indicate whether you want to speak on Res, Nonres, or both, I think that will provide for a somewhat more coherent conversation. So she has all your blue cards, so if you could just flag, again, Res, Nonres, or both. So let's start with disclosures.

VICE CHAIR DOUGLAS: All right, so I've got disclosures and they're actually the same for Commissioner McAllister. I am an Adjunct Professor at King Hall at U.C. Davis, I teach a Renewable Energy Law class, which has now ended,

1 but in any case -- but not for long because I'd  
2 done it, this is the third year I've done it --  
3 in any case, there are a couple items that I need  
4 to disclose. Item 1b, U.C. Davis, is a  
5 subcontractor under that contract; Item 8, U.C.  
6 Davis is the prime contractor; Item 9, U.C. Davis  
7 is the prime contractor; Item 14, U.C. Davis is a  
8 subcontractor; Item 16a, U.C. Davis is a  
9 subcontractor; Item 17d, U.C. is the prime  
10 contractor; Item 21f, U.C. Davis is a  
11 subcontractor. None of these contractors involve  
12 King Hall, which is the law school. Thank you.

13 COMMISSIONER MCALLISTER: So I'll just  
14 repeat those for good measure, but I'm disclosing  
15 the same items, 1b, 8, 9, 14, 16a, 17d, and 21f,  
16 and those are all because the U.C. system at U.C.  
17 Davis has a role in those contracts, and my wife  
18 is a Professor at the Law School, King Hall at  
19 U.C. Davis. So that's the disclosure. I also  
20 need to recuse myself from one item, and that's  
21 Item 19a. So I'll step out for that one.

22 CHAIRMAN WEISENMILLER: Yeah, we'll split  
23 19's discussion into a, and a, b and c will be  
24 different.

25 Okay, so let's start with the Consent

1 Calendar.

2 VICE CHAIR DOUGLAS: Move Consent.

3 COMMISSIONER SCOTT: Second.

4 CHAIRMAN WEISENMILER: All those in  
5 favor?

6 (Ayes.)

7 CHAIRMAN WEISENMILLER: We're going to  
8 hold Items open until Commissioner Hochschild  
9 shows up shortly. So anyway, at this point the  
10 Consent is 4-0, but with holding it for  
11 Commissioner Hochschild.

12 So let's go on to Item 3. John Hilliard,  
13 please.

14 MR. HILLIARD: Okay. Good morning,  
15 Commissioners. My name is John Hilliard, I'm the  
16 Staff Division Project Manager for the Puente  
17 Power Project. To my right is Kerry Willis,  
18 she's the Staff Counsel for the project.

19 And this item entails two actions  
20 regarding the project, one is the potential  
21 approval of an Order that would accept the  
22 Executive Director's recommendation of data  
23 adequacy for the Application For Certification,  
24 or AFC, for the project. And then the second is  
25 the possible appointing of a Siting Committee for

1 the project.

2           The AFC itself seeks certification for a  
3 proposed 262 megawatt gas-fired simple cycle  
4 power facility that will be located on three  
5 acres of a larger 36-acre site that houses the  
6 Mandalay Generating Station. And this is located  
7 on Mandalay Beach in the City of Oxnard in  
8 Ventura County.

9           The Puente Power Project, which is also  
10 called P3 in the Applicant's AFC, would generate  
11 electricity that in part replaces 430 megawatts  
12 of power that's generated by Mandalay Units 1 and  
13 2, which must be phased out from using ocean  
14 water for plant cooling in accordance with the  
15 State Water Resources Control Board's Resolution.

16           Now, the AFC was submitted April 15th of  
17 this year. Staff's initial review of the  
18 document found that the information provided by  
19 the Applicant, which is the initials NRG Energy,  
20 was not data adequate. In particular, there were  
21 gaps in the air quality analysis and, in  
22 particular, there was a Letter of Incompleteness  
23 that was issued by the local Air Pollution  
24 Control District, finding the Applicant's request  
25 for what's called a Determination of Compliance,

1 or DOC, incomplete.

2 In addition, there were deficiencies in  
3 the Public Health Assessment sections, as well as  
4 the Transmission System Design section. So on  
5 May 13th the Executive Director issued the first  
6 memorandum to the Commissioners, recommending  
7 that they find the AFC data inadequate.

8 Since that time, Energy has addressed the  
9 items that were identified in that May 13th memo.  
10 On May 28th, the Ventura County Air Pollution  
11 Control District issued a Letter of Completeness  
12 for the request for DOC, and then on June 1st,  
13 NRG submitted a composite package of information  
14 that adequately addressed all of the deficiencies  
15 that were noted in the first May 13th Memorandum.  
16 So in light of the June 1st submittal, the  
17 Executive Director has issued a second Memorandum  
18 that's dated June 2nd, and that recommendation is  
19 that the Commission find the AFC data adequate.

20 So should the Commission accept the  
21 Executive Director's recommendation as finding  
22 the application complete, and that's reflected in  
23 the attached Order in front of you, staff is also  
24 requesting that the Commission appoint a  
25 committee that would oversee the P3 proceeding.

1           So at this point, I will conclude. I'm  
2 here, staff counsel is here, obviously at the  
3 table there are representatives from the project  
4 team from NRG, and their consultant. I'll answer  
5 any questions.

6           CHAIRMAN WEISENMILLER: No, let's go on  
7 to the Applicant, please.

8           MS. GLEITER: Commissioners, thank you.  
9 Good morning. My name is Dawn Gleiter and I'm  
10 the Director of Sustainable Development for NRG,  
11 and I oversee new projects, as well as other  
12 things for NRG's Western Region.

13           I specialize in projects that are really  
14 needed today to make sure that we can realize  
15 that less impactful energy future, and we believe  
16 that Puente is a project of this nature.

17           So I'm pleased to be appearing before you  
18 today in hopes that you will approve the Puente  
19 Power Project's data adequacy finding before the  
20 Commission.

21           I'd like to thank John Hilliard and the  
22 other CEC staff for their diligence in completing  
23 the data adequacy, we really appreciated the open  
24 communication and your recommendations. NRG  
25 Center Oxnard, who is the legal entity applying

1 for the Puente Power Project license is dedicated  
2 to the process and will continue to do everything  
3 we can to assist staff and the Commission in the  
4 review of this project.

5 We look forward to working with you to  
6 complete the certification process as  
7 expeditiously as possible. And we thank you for  
8 your consideration.

9 MR. CARROLL: And just to introduce the  
10 remainder of the Project Team here, I'm Mike  
11 Carroll with Latham and Watkins, we're outside  
12 counsel to the project; to Ms. Gleiter's right is  
13 Anne Connell, Project Manager with AECOM  
14 Applicants Environmental Consulting firm; and on  
15 the telephone is George Piantka, Director of  
16 Environmental Regulatory Services for NRG. And  
17 we're all available for any questions that you  
18 may have. Thank you.

19 CHAIRMAN WEISENMILLER: Great. I have no  
20 blue cards for this. Is there anyone in the room  
21 or on the phone who wants to comment? Okay, then  
22 let's transition over to the Commission  
23 discussions.

24 VICE CHAIR DOUGLAS: Well, so, you know,  
25 obviously I'm pleased to hear that the staff is

1 recommending that we approve data adequacy, that  
2 would start the review process at the committee  
3 level. And I don't have any questions. So we  
4 need a motion to approve the finding of data  
5 adequacy first, I think, so I move that we  
6 approve the finding of data adequacy.

7 COMMISSIONER SCOTT: Second.

8 CHAIRMAN WEISENMILLER: Okay. All those  
9 in favor?

10 (Ayes.) So again, 4-0.

11 CHAIRMAN WEISENMILLER: I would open it  
12 potentially for Commissioner Hochschild.

13 MS. VACCARO: And then there's a second  
14 part of this, which was the request for  
15 designation of a committee, as well.

16 CHAIRMAN WEISENMILLER: That's correct.  
17 And on the Committee Commissioner Scott will be  
18 the Presiding Member and Commissioner Douglas  
19 will be the second member.

20 VICE CHAIR DOUGLAS: Move approval.

21 COMMISSIONER SCOTT: Second.

22 CHAIRMAN WEISENMILLER: All those in  
23 favor?

24 (Ayes.) Congratulations.

25 CHAIRMAN WEISENMILLER: Let's go on to

1 Item 4 --

2 COMMISSIONER MCALLISTER: Are you  
3 congratulating me or them? I'm not sure.

4 CHAIRMAN WEISENMILLER: Maybe both,  
5 officially. Let's go on to Item 4, which is the  
6 Argus Cogeneration Expansion, ACE. Dale, please.

7 MR. RUNDQUIST: Good morning,  
8 Commissioners. My name is Dale Rundquist and I  
9 am the Compliance Project Manager for the Argus  
10 Cogeneration Expansion Project, or ACE. With me  
11 this morning is Jeff Ogata, Senior Staff Counsel,  
12 and Energy Commission Technical Staff. Present  
13 in the room are representatives from ACE  
14 Cogeneration Company, LP, the owner of the ACE  
15 project. Representatives from the Searles Valley  
16 Mineral Facility are also present.

17 On November 25, 2014, ACE Cogeneration  
18 Company, LP filed a Petition with the California  
19 Energy Commission requesting to decommission the  
20 ACE Project. ACE ceased operations in October  
21 2014 and has been placed in an outage condition.  
22 ACE was a coal-fired 100 megawatt cogeneration  
23 project that was certified by the Energy  
24 Commission on January 6, 1988. The ACE Project  
25 provided electricity to Southern California

1 Edison for sale, and steam to the Searles Valley  
2 facility for use in its industrial processes.

3           The plant consisted of a single coal-  
4 fired circulating fluidized bed boiler and a  
5 single stream turbine generator. It was also  
6 equipped for supplementary natural gas firing for  
7 startup.

8           The project is located in the northwest  
9 side of Searles Lake in the City of Trona, San  
10 Bernardino County, California.

11           Decommissioning of ACE involves selling  
12 easily removed tools and equipment of no interest  
13 to the new buyer of the site, Sabco,  
14 Incorporated, dismantling or demolishing the  
15 plant and other facilities not retained by Sabco,  
16 recycling components and materials to the extent  
17 possible, hauling off and disposing of the  
18 remaining waste, remediating portions of the  
19 site, if necessary, and cleaning up the site.

20           Following the decommissioning, any  
21 equipment and facilities shared with the Searles  
22 Valley Minerals Facility, and not to be used by  
23 Sabco, such as a coal unloading facility and  
24 storage barn, will be turned over to the Searles  
25 Valley Minerals Facility according to separate

1 agreements.

2 Energy Commission staff reviewed the  
3 Petition to determine whether the project  
4 decommissioning would comply with all applicable  
5 laws, ordinances, regulations, and standards, and  
6 would not result in any unmitigated environmental  
7 impacts. Staff determined that the five  
8 technical areas of Air Quality, Cultural  
9 Resources, Hazardous Materials Management, Worker  
10 Safety and Fire Protection, and Waste Management,  
11 required new or revised Conditions of  
12 Certification.

13 The proposed new and revised Conditions  
14 of Certification provided in these five areas  
15 will ensure compliance with the Energy Commission  
16 decision.

17 It is staff's opinion that, with the  
18 implementation of these new and revised  
19 conditions, in addition to the existing  
20 conditions, the ACE Project decommissioning would  
21 comply with all applicable laws, ordinances,  
22 regulations, and standards, and would not result  
23 in any significant adverse, direct, indirect, or  
24 cumulative impacts to the environment.

25 The demolition of the ACE Project is

1 scheduled to begin 30 days after approval is  
2 received from the Energy Commission, and will  
3 last approximately six months.

4           The Notice of Receipt was mailed to the  
5 Post-Certification Mailing List, docketed, and  
6 posted on the Energy Commission website on  
7 December 12, 2014.

8           The staff analysis was mailed, docketed,  
9 and posted to the Energy Commission website on  
10 April 8, 2015.

11           Before the 30-day comment period ended on  
12 May 8, 2015, the Searles Valley Minerals Facility  
13 sent a list of 26 comments to the Energy  
14 Commission pertaining to the ACE Decommissioning  
15 Petition. ACE Co-Generation Company, LP provided  
16 written responses to the comments on May 8, 2015.  
17 Energy Commission staff considered the Searles  
18 Valley Minerals comments and ACE Co-Generation  
19 Company, LP responses, and provided the written  
20 response to the Searles Valley Minerals comments  
21 on May 29, 2015.

22           Staff's response to the Searles Valley  
23 Minerals demonstrates that the staff analysis has  
24 addressed the potential for significant  
25 environmental impacts and has recommended the

1 appropriate conditions to ensure that the  
2 demolition activities will be conducted in  
3 compliance with applicable laws, ordinances,  
4 regulations, and standards. Staff acknowledges  
5 that there are legal issues between Searles  
6 Valley Minerals and ACE Co-Generation Company  
7 that are not addressed in the staff analysis, nor  
8 should they be.

9           Staff is recommending that the Energy  
10 Commission approve the Petition to decommission  
11 the ACE Project based upon staff's findings and  
12 subject to the new and revised Conditions of  
13 Certification. Staff and ACE Co-Generation  
14 Company, LP are available for any questions you  
15 might have. Thank you.

16           CHAIRMAN WEISENMILLER: Thank you.  
17 Applicant?

18           MR. CASANOVA: Good morning, Chairman  
19 Weisenmiller and Commissioners. My name is Glen  
20 Casanova, I'm General Manager of ACE Co-  
21 Generation Company. With me today, I have Chris  
22 Ellison and Bob Therklesen.

23           So ACE was permitted by the Energy  
24 Commission over 27 years ago. At that time, the  
25 Kerr-McGee Chemical Corporation owned what is now

1 called Argus Cogeneration Expansion, or ACE as we  
2 now call it, and what is now Searles Valley  
3 Minerals. ACE was initially permitted to  
4 demonstrate circulating fluidized bed technology.  
5 It also showed that solid fuel-fired power plants  
6 could meet California's stringent air quality  
7 emissions standards.

8           During and after the demonstration  
9 period, ACE reliably produced an estimated 20  
10 million megawatt hours over its lifetime for  
11 Southern California Edison customers, along with  
12 steam for the adjacent Searles Valley Minerals.

13           Although ACE's power contract did not  
14 originally expire until December of this year,  
15 ACE and Southern California Edison agreed to  
16 terminate the Power Purchase Agreement effective  
17 November of 2014. This was in response to  
18 greenhouse gas regulations. The early  
19 termination provided significant ratepayer  
20 savings to Southern California Edison customers  
21 and it also provided a material reduction in  
22 statewide greenhouse gas emissions.

23           As a result of this termination, ACE  
24 accelerated discussions with Commission staff to  
25 develop a Decommissioning Plan for the project,

1 and this is the plan we have before you for your  
2 approval today.

3 We worked closely with Commission staff  
4 and other state and local agencies to ensure that  
5 ACE is decommissioned in the manner that is safe,  
6 results in no material environmental impacts, and  
7 conforms to all laws, ordinances, regulations and  
8 standards.

9 We'd like to thank Roger Johnson, Dale  
10 Rundquist, and the rest of the CEC staff for  
11 their guidance efforts and thorough analysis. We  
12 have reviewed the staff's report and are in full  
13 agreement with all of the staff's conclusions,  
14 recommendations, and actions. And these are  
15 incorporated in the plan you have before you  
16 today. We are also in full agreement with  
17 staff's written response to SVM's comments, and  
18 we'd be happy to answer any questions you might  
19 have about our project or about the plan. Thank  
20 you.

21 CHAIRMAN WEISENMILLER: Thank you. I  
22 think we have one public comment and I believe  
23 Ross May is in the room? Please step forward.

24 MR. MAY: Thank you for this opportunity  
25 to address the Commission concerning ACE's

1 Decommissioning Plan. I am Ross May, Searles  
2 Valley Minerals Director of Environmental and  
3 Safety. SVM acts as the host for ACE's Co-  
4 Generation Plant and is the owner of that site.  
5 SVM continues to support its prior written  
6 comments submitted to Commission staff.

7 I would like to focus on the scope of the  
8 proposed demolition, if only some of the  
9 buildings, and the retention of other buildings  
10 and infrastructure for use by a new party.

11 SVM is very concerned that the plan does  
12 not require removal of all infrastructure.  
13 Section 1.1 of the plan states that ACE reached  
14 an agreement on November 24, 2014, to transfer  
15 its lease and sell some of its equipment and  
16 structures to Sabco, Incorporated. Sections 1.2  
17 and 4.1 of the plan list the buildings and  
18 equipment that are to be retained for use by  
19 Sabco, including tanks, cooling tower, petroleum  
20 coke equipment, handling equipment, and concrete  
21 foundations of demolished buildings.

22 ACE agrees that SVM's prior written  
23 consent is required for any lease assignment.  
24 The site, absent SVM's prior written consent,  
25 must only be used for operating a steam and

1 electricity generating plant. No consents have  
2 been given by SVM.

3 ACE has not provided any information  
4 about Sabco and ACE admits that it does not know  
5 Sabco's intended use of the site.

6 The plan, if approved, would allow ACE to  
7 preserve some buildings and the foundations of  
8 demolished buildings for an unknown purpose at  
9 some undefined future use, future time, all on  
10 SVM's property. Why will Sabco need the  
11 foundations of demolished buildings or, for  
12 example, a petroleum coke handling facility? If  
13 the site is only partly demolished and the  
14 foundations and piping are left in the ground, it  
15 will decrease the possibility that the site will  
16 be useful for future industrial uses without  
17 additional significant expense by SVM or a new  
18 tenant.

19 Public policy in California should  
20 encourage the total cleanup of old industrial  
21 sites so they may be used for new purposes  
22 creating new jobs.

23 SVM requests that the Commission order  
24 ACE to completely demolish the entire plant or,  
25 in the alternative, to fully remove the

1 foundations of buildings, structures, and piping  
2 that ACE is demolishing or abandoning. Thank  
3 you. And thank you to Dale for working with me  
4 on this.

5 CHAIRMAN WEISENMILLER: Okay. Now, do we  
6 have anyone else in the room or online who wants  
7 to discuss this? Let's turn to first the staff  
8 and then Applicant to respond to Mr. May's  
9 comments.

10 MR. OGATA: Good morning, Chair  
11 Weisenmiller. This is Jeff Ogata, Assistant  
12 Chief Counsel. I think with your permission we  
13 would ask that ACE address those comments first,  
14 and then we'll weigh in. I would like them to  
15 actually address the factual issues that are  
16 raised by the comments.

17 CHAIRMAN WEISENMILLER: Sure. Go ahead.

18 MR. ELLISON: Thank you, Chairman  
19 Weisenmiller, Commissioners. Chris Ellison,  
20 Ellison, Schneider and Harris on behalf of the  
21 Applicant.

22 I would just make two points and then  
23 we're available to answer any specific questions  
24 that you might have.

25 The first point is this. The staff has

1 thoroughly reviewed the proposal, including those  
2 provisions that SVM has spoken to that relate to  
3 leaving certain equipment on the site for the use  
4 of Sabco. And staff has determined that that  
5 proposal complies with all ordinances, laws,  
6 standards, and has no environmental impacts as  
7 mitigated by the staff's proposed conditions.  
8 That is the Energy Commission's role in this  
9 process.

10 Separate from that are the private  
11 agreements, the lease, the steam sales agreement  
12 that my client has with SVM. Those are not  
13 enforceable here, those are enforceable in the  
14 courts, and I think the Commission fully  
15 understands that. So to the extent that the  
16 concern raised relates to the staff's analysis  
17 and failure to comply with an ordinance, or a  
18 standard, or an environmental impact, we think  
19 the staff has looked at that, we concur with the  
20 staff that those comments have no merit. To the  
21 extent that the comments, for example, the  
22 consent comment that relate to enforcement of the  
23 lease, I'm not going to get into the legal  
24 arguments on both sides of that, I'll simply say  
25 that that's an issue to be resolved hopefully

1 between the parties by negotiation, but if that  
2 fails, other Government agencies and specifically  
3 the courts.

4 CHAIRMAN WEISENMILLER: Now are you  
5 familiar with the Colmac precedent at the PUC?  
6 Could you discuss that?

7 MR. ELLISON: Actually, I'm not,  
8 Commissioner.

9 CHAIRMAN WEISENMILLER: Okay, well, so  
10 Colmac was a dispute between parties involving  
11 contract issues and the PUC ultimately concluded  
12 that a better venue for contract dispute  
13 resolution was courts of law.

14 MR. ELLISON: That's correct.

15 CHAIRMAN WEISENMILLER: Okay, staff?

16 MR. OGATA: Thank you, this is Jeff  
17 Ogata. We agree with Mr. Ellison's comments,  
18 that's exactly how staff has viewed this matter,  
19 that the issue of whether or not that structure  
20 should remain or not remain is a matter to be  
21 worked out between the parties. As a policy  
22 matter, it may be a good idea that the Commission  
23 would require that sites that we have  
24 jurisdiction over be returned to its natural  
25 state, but as a legal matter there is nothing in

1 our statute that requires that. And therefore we  
2 typically analyze all these types of proposals  
3 according to what the Applicant has proposed to  
4 us. In this case, they have proposed to us that  
5 certain things remain and they've stated that  
6 it's a function of their lease agreement going  
7 forward and, so, as Mr. Ellison has pointed out,  
8 our staff has analyzed the proposal, come to the  
9 conclusion that there are no environmental  
10 impacts with leaving these things in the ground,  
11 along with mitigation measures that we're  
12 requiring. And as long as this project remains  
13 under our jurisdiction, then that's what staff's  
14 recommendation will be.

15           If going forward in the future there is  
16 some other change to what the Applicant would  
17 like to do and, in fact, comes back and says "we  
18 are going to take these things out of the  
19 ground," they would have to come back and amend  
20 their decommissioning plan and staff would  
21 analyze that, again, assuming that this project  
22 is still within our jurisdiction. Obviously we  
23 have jurisdiction over power plants; this is no  
24 longer a power plant, this is the end of the  
25 power plant life. So any number of things could

1 happen at this point. After ACE concludes the  
2 decommissioning pursuant to the plan that we've  
3 approved, if something happens and the Commission  
4 decides, or they make a motion to terminate the  
5 Commission's jurisdiction over this power plant,  
6 then we would no longer have any authority going  
7 forward from that point in time. Then again it  
8 would revert back to a contractual matter between  
9 the parties.

10 CHAIRMAN WEISENMILLER: Okay, Mr. May, do  
11 you want to respond?

12 MR. MAY: Just to reiterate our key point  
13 one more time. Again, I understand the issues on  
14 the legalities, whether or not there's actually a  
15 legal requirement for ACE to remove the  
16 foundations, but our concern is that here will be  
17 an industrial site that is not fully demolished,  
18 and if it is not fully demolished, it actually  
19 very clearly limits the use of that ground going  
20 forward in the future, whether it's building a  
21 new power plant, a new industrial operation, an  
22 extension of our facility. So we urge the  
23 Commission to look at that big picture, too,  
24 going forward to make sure that that ground is  
25 clear so it can be used for future purposes.

1           Again, as I mentioned, as far as we know,  
2 we don't know what Sabco is going to do at that  
3 property, ACE has said they don't know what  
4 they're going to do with that property, and it's  
5 fairly clear that Sabco does not intend to put in  
6 another cogeneration plant. And so, again, based  
7 on the legal requirements between the two  
8 facilities, we cannot give consent for Sabco to  
9 take over that location.

10           So again, primarily we would like to go  
11 to bare ground so that that facility, that  
12 location can be used for future purposes.

13           CHAIRMAN WEISENMILLER: Okay, thank you.  
14 Let's transition to the Commissioners'  
15 conversation on this.

16           VICE CHAIR DOUGLAS: Well, you know, I've  
17 reviewed this in some detail because the  
18 question, including the policy question of what  
19 level of removal of structures should be required  
20 by the Commission for cases is a pretty  
21 interesting one, and not always a straightforward  
22 one. I think the straightforward way to look at  
23 this issue is to say, first of all, we don't  
24 enforce leases or contracts, it is not our  
25 jurisdiction or expertise to know whether or not

1 consent is required for subleasing, and what  
2 conditions if any a lease imposes on it, and that  
3 is just not what we do, not our venue, not our  
4 expertise.

5           So we really -- I agree with the approach  
6 staff took to not get into that issue and to  
7 analyze the proposal that was brought to them.

8           The policy question of what level of  
9 returning a site to its natural condition should  
10 be required, as I said before, is an interesting  
11 one and there are different contexts. We have  
12 required restoration bonds in certain instances,  
13 for example, and those are typically based on  
14 specific concerns or specific circumstances that  
15 causes that kind of requirement to come up. More  
16 recently with the move to renewable energy  
17 projects and undisturbed land, for example,  
18 that's something that, where we do tend to impose  
19 that kind of requirement because it's a very  
20 different context than a case where somebody  
21 comes in to build a power plant in an area that's  
22 already a brownfield, and they're already having  
23 to demolish something there and do some level of  
24 cleanup, and then build what they want to build.

25           So there's an interesting policy

1 discussion here. In the instance before us,  
2 however, the simpler way to look at it is that  
3 whatever the merits of those types of  
4 requirements, they do not appear in the license  
5 that's granted to this facility and what this  
6 facility is required to do is provide a  
7 decommissioning plan, which they have done, and  
8 staff is proposing that we approve the plan.

9 I think that from what I've seen, that's  
10 what we should do is to approve the plan and hope  
11 that the parties are able to work out their  
12 differences through discussion; but if they  
13 can't, we are not the place they should go. So  
14 that's what I would say about this. I don't know  
15 if there are any other comments or questions?

16 Okay, so I will move approval of this item.

17 COMMISSIONER MCALLISTER: I'll second.

18 CHAIRMAN WEISENMILLER: Okay. All those  
19 in favor?

20 (Ayes.) So this passes 4-0.

21 CHAIRMAN WEISENMILLER: Let's go on to  
22 Item 5, which is the 2016 Building Energy  
23 Efficiency Standards. Mazi. And again, I  
24 believe we have a presentation that covers  
25 everything, we will then take comments on

1 Residential, followed by comments on  
2 Nonresidential.

3 MR. SHIRAKH: Good morning,  
4 Commissioners. I'm Mazi Shirakh, the Project  
5 Manager for the 2016 Building Energy Efficiency  
6 Standards. I have at the table with me Peter  
7 Strait and Payam Bozorgchami, and we're going to  
8 present this information as a team today. I also  
9 wanted to recognize the significant contribution  
10 of Bill Pennington to many of these measures, and  
11 Eurlyne Geisler for overall guidance throughout  
12 this whole process, keeping us on track.

13 Going to the first slide, a little bit of  
14 background about the authority that's given to us  
15 to update, adopt and update Building Standards,  
16 it's part of the Public Resources Code, the  
17 Warren Alquist Act which was signed into law in  
18 1974 by then Governor Reagan, and then was later  
19 on launched a few months later by Governor Brown  
20 when he was a lot younger. Next slide, please.

21 CHAIRMAN WEISENMILLER: He was our  
22 youngest Governor, too.

23 MR. SHIRAKH: Yes.

24 COMMISSIONER MCALLISTER: All of us were  
25 younger then, right?

1           MR. SHIRAKH: And the various policy  
2 drivers for Building Standards includes the  
3 Governor's Clean Energy Jobs Plan, and also the  
4 Governor Brown's ZNE Goals of 2020 for  
5 Residential Buildings and 2030 for Nonresidential  
6 Buildings. We basically have three cycles to get  
7 to ZNE by 2020, we're done with 2013, we're in  
8 the later stages of 2016, and we have one more  
9 cycle to go.

10           There's also various policy drivers from  
11 the California Air Resources Board and  
12 California's Long Term Energy Efficiency  
13 Strategic Plan. Next slide, please.

14           This slide describes or illustrates the  
15 impact of energy standards on Residential  
16 Buildings. And starting at the left of the  
17 graph, back in mid-'70s before we had standards,  
18 the units are KBTU per square foot, per year,  
19 which is a source energy, which is something we  
20 don't use anymore, but it's still relevant for  
21 illustration here.

22           We started out with buildings using about  
23 110 KBTU per square foot of energy. And since  
24 then we've been on a downward track. Today, with  
25 the 2013 standards which are currently in effect,

1 we are at about 20; with the adoption of the 2016  
2 Standards, we'll probably be down to around 16 or  
3 so KBTU per square foot.

4           And this has been largely achieved  
5 through improvements to the building envelope of  
6 the building and mechanical equipment, lighting,  
7 and other systems. Next slide, please.

8           When we adopt standards, we consider  
9 every single measure, whether it is cost-  
10 effective or not. And we perform a very robust  
11 lifecycle cost analysis that's essentially a net  
12 present value analysis where we consider the life  
13 of the measure and the building, and the energy  
14 savings and maintenance savings or costs, and we  
15 bring them all to the present value. And if the  
16 benefits are greater than cost, we consider that  
17 measure to be cost-effective.

18           For the unit of energy, we used TDV, or  
19 Time Dependent Valuation which essentially is a  
20 metric that values each unit of energy  
21 differently for different hours of the year. In  
22 general, it favors measures that save energy on  
23 peak during hot summer days. Next slide, please.

24           We develop our standards considering  
25 California climate zones, big state, lots of

1 climate zones, 16 of them. We can roughly put  
2 them in five different categories, the Coastal,  
3 Inland, Central Valley where we are, we are in  
4 Climate Zone 12, and Desert which is Climate  
5 Zones 14 and 15, and Mountain, which is 16. We  
6 try to develop the prescriptive measures for each  
7 climate zone and then we try to combine and have  
8 uniform requirements across climate zones to the  
9 extent possible for ease of enforcement and  
10 compliance. Next slide, please.

11           The 2016 Standards energy impact, the  
12 2016 is a significant improvement over 2013,  
13 which in itself was a very significant  
14 improvement; 28 percent savings for residential  
15 single-family homes by basically improving  
16 heating and cooling and envelope, and lighting  
17 system of the home. Overall savings standards  
18 for all buildings including Res and Nonres and  
19 newly constructed buildings and alterations, we  
20 can after 30 years of savings we can displace  
21 about 12 large 500 megawatt combined cycle power  
22 plants. Next slide, please.

23           This slide demonstrates the energy impact  
24 in numbers. The gigawatt hour savings for the  
25 first year is 537; demand reduction 195 million

1 watts; gas savings in million terms is 30; again,  
2 28 percent savings for Residential; and five  
3 percent savings for Nonres.

4 I should probably note that for this  
5 cycle of standards, we focused mostly on  
6 Residential units because the 2020 goal is more  
7 imminent, for Nonres the goal is 2030, so we  
8 focused mostly on Res. For Nonres, we  
9 essentially tried to keep up with national  
10 standards so we don't fall behind.

11 The graph below is another way of  
12 presenting the benefits of the 2016 Standards,  
13 the impact is by considering the design rating of  
14 the home. This is based on the 2006 IECC  
15 baseline. The results here are different than  
16 HERS 2 with the whole house rating that we're  
17 accustomed to. We're trying to align with RESNET  
18 here, so that's why we're switching to IECC in  
19 this slide. And essentially what it means, that  
20 the 2013 Standard had a design rating of 72; with  
21 the improvements in the 2016, we're reducing that  
22 to around 60. And the result is about a 17  
23 percent reduction. Another way of looking at it  
24 is that the solar array that you need to get to  
25 ZNE will be 17 percent smaller because of these

1 improvements. Next slide, please.

2           Some other highlights. Again, three  
3 updates to get to ZNE, we're in the second update  
4 with 2019 upcoming. We're focused on getting  
5 home loads down to a level where the rest of the  
6 load can be met with the renewables, the PVs in  
7 this case. For Nonres, newly constructed  
8 buildings keep current with national standards so  
9 we don't fall behind, and we also make  
10 significant cleanup changes to many of the  
11 sections of the standards, we have a slide on  
12 that, we received hundreds of comments from  
13 stakeholders about basically the 2013 language  
14 and the comments and the intent, and we used that  
15 opportunity to go back over the past several  
16 months and a lot of red ink there, we didn't  
17 change the intent of the standard, but we tried  
18 to make it more understandable. Next slide,  
19 please.

20           Benefits to California, improved  
21 productivity, lower energy use per GDP, reduced  
22 need for power plants, improved energy system  
23 reliability, and also creating green jobs in the  
24 state. And I can attest to that, that middle  
25 slide is my own PV and a whole bunch of people

1 worked on that, so that's created jobs. Next  
2 slide, please.

3 Another way of describing the energy  
4 benefits of the standards is, after 30 years of  
5 construction and energy savings there will be  
6 enough savings to displace about three million  
7 EVs if they're driven on the average about 40  
8 miles each day. They can displace those savings  
9 about 2.2 million homes built to the 2013  
10 Standards, or 12 power plants, as we earlier  
11 described. Next slide, please.

12 Statewide cost for the prototype, and  
13 these are the costs that we jointly worked out  
14 with CBIA, so I don't think there's any dispute  
15 on this. It's about \$2,700. The benefits over  
16 the life of the building is about \$7,400, so it's  
17 a very significant benefit to cost ratio, about  
18 2.5:1.0. Net savings of about \$4,700. Now,  
19 turning that into monthly payments, it would be  
20 an increase of about \$11.00 in the mortgage  
21 payment and a reduction in utility cost of about  
22 \$31.00, with a net benefit to the homeowner of  
23 about \$20.00 a month. Other benefits to the  
24 consumer, reduced energy bills which is obvious,  
25 comfort, indoor air quality, you know, the home

1 is going to be less drafty, the temperature  
2 swings are going to be much more modest because  
3 of the good envelope and windows and so forth,  
4 reduced construction defects, and probably an  
5 increase in property values. Next slide, please.

6 So this is the schedule for the 2016  
7 Update. It started back in April of 2004 with a  
8 new event that we never contemplated before, or  
9 did, and this was a joint forum with CBIA over at  
10 SMUD Building, where we communicated our visions  
11 and goals to the industry, which including CBIA  
12 suppliers, manufacturers, and so forth. I'll  
13 talk about that a little bit later.

14 And then after that event, the pre-  
15 rulemaking got started by the IOUs, the Investor  
16 Owned Utilities holding Case Holder Meetings  
17 throughout the State, presenting the measures  
18 that are required for ZNE to the stakeholders,  
19 and they presented those measures, they sought  
20 comments, incorporated them, and then they turned  
21 them over to the staff and then we presented  
22 those measures here in this hearing room from  
23 April to August of 2014. We sought comment from  
24 the public and the result was the draft standards  
25 that was presented in November of 2014, and the

1 pre-rulemaking was capped with a second CBIA  
2 forum at the SMUD Building.

3           The rulemaking phase started in January  
4 of 2015 when we released the 45-day language.  
5 The hearing for 45-day language was in March of  
6 2015. The 15-day language was released in May  
7 and the proposed adoption is today, and the  
8 effective date will be January 1, 2017. Next  
9 please.

10           Again, pre-rulemaking with the IOUs  
11 holding their meetings to present the measures,  
12 and followed by staff workshop. We invited a  
13 very diverse, both the stakeholder meetings and  
14 staff workshops, we tried to involve a very  
15 diverse group of stakeholders, as much as  
16 possible, and get as many comments as we could  
17 and address those. Next, please.

18           And their rulemaking is basically, I  
19 think we talked about this and today is the  
20 adoption. Next, please.

21           So to get to ZNE, we needed a new  
22 approach and because ZNE requires measures that  
23 would require a significant change to the  
24 building construction practice. You know, gone  
25 are the days when we would basically improve the

1 U-Factor of a window or improve the SEER of an  
2 air-conditioning. Basically from here on out we  
3 have to do the things that would impact how the  
4 building is constructed, designed, and built. So  
5 examples are high performance attics and high  
6 performance walls.

7           And so this necessitated a close  
8 collaboration between staff, CBIA, and the  
9 Manufacturers to basically work together to come  
10 up with solutions that would get us closer to the  
11 ZNE goals. Next slide, please.

12           So the result of this was, rather than  
13 defining specific measures, we defined the  
14 performance levels for high performance walls and  
15 attics that was needed to get us to the ZNE  
16 goals. And one metric that you can use for  
17 performance-level is a U-Factor. Then, once we  
18 developed these performance levels we  
19 communicated that to the industry at the forums  
20 and in the staff workshop, and then we invited  
21 builders and manufacturers and suppliers to  
22 partner with us to come up with solutions.  
23 Again, CBIA hosted these forums in April and  
24 November to communicate the ZNE vision and to  
25 engage industry in creating new solutions and

1 allowing the free market to settle on promising  
2 solutions, rather than the Energy Commission  
3 determining what they should be.

4           We also worked very closely with the CPUC  
5 and the IOUs to come up with a package of  
6 financial incentives to help transition high  
7 performance attics and walls into the market  
8 before the effective date, and also come up with  
9 training programs for the trade folks. And I'll  
10 talk about that a little bit later on.

11           So now we're getting to specific measures  
12 and Payam is going to present this.

13           MR. BOZORGCHAMI: Hello, my name is Payam  
14 Bozorgchami and I'm with the Building Standards  
15 Office, and I'm going to present the new  
16 prescriptive requirement known as the High  
17 Performance Attics.

18           The High Performance Attic, Prescriptive,  
19 is based on a ventilated attic with R-38  
20 insulation at the ceiling and R-13 insulation  
21 below the roof deck. Types of insulation that  
22 can be applied below the roof deck to meet that  
23 R13 is bad insulation, blown-in cellulose, or  
24 spray foam.

25           Another prescriptive option, or an

1 alternative that we have in the High Performance  
2 Attics is having an R-6 continuous insulation  
3 above the roof rafters. That insulation includes  
4 a radiant barrier below the roof deck, so you  
5 could have that insulation above the deck or  
6 below the deck, as long as it's continuous.

7           Types of insulation that could do that  
8 would be rigid board, your structural inside  
9 panels, vented nail board systems, and your  
10 insulated encapsulated tile-type systems. The  
11 third option that you can do for High Performance  
12 Attic is to have all your ducts and your  
13 mechanical system removed out of the attic and  
14 placed in a conditioned space. And with that,  
15 you would only need to meet the prescriptive  
16 requirements of ceiling insulation.

17           The industry is already looking into  
18 other innovative options to meet the High  
19 Performance Attic criteria that we propose today.  
20 Next slide, please.

21           Here are some examples of meeting the  
22 High Performance Attics that is currently being  
23 used in the building market. Next slide, please.

24           And one of our other high performance  
25 systems that we're proposing for the Prescriptive

1 Requirement is a High Performance Wall, which has  
2 an R-19 cavity insulation and a 2 X 6 16-inch on  
3 center with an R-5 continuous insulation, and  
4 that would give you a U-Factor of a .051.

5 As you can see on this slide, there are  
6 multiple ways of meeting that criteria of a .051.

7 MR. SHIRAKH: Next slide, please. So as  
8 part of the 2016 Standards, we're also proposing  
9 a series of compliance options. One of them is a  
10 limited flexible PV compliance option.

11 Proportional 2 HPA and HPW basically means that  
12 the amount of that compliance option is capped at  
13 what is required to trade away high performance  
14 attics and walls. So it is a limited credit, but  
15 it is flexible, which means you can actually use  
16 it to trade away other things, other than High  
17 Performance Attics and Walls, but in reality  
18 because it's a limited credit, you know, you will  
19 not be able if you do not do High Performance  
20 Attics and Walls and use that credit, you will  
21 still end up with a building that's better than  
22 2013 Standards.

23 Other compliance options include, among  
24 other things, are High Performance Windows and  
25 High ER Air-Conditioning. This slide here is for

1 information purposes only because the compliance  
2 options are not part of these proceedings, they  
3 are part of the ACM Reference Manual process  
4 which will be probably approved by the Commission  
5 later this year, and we're going to be having  
6 workshops this summer, so, again, this is for  
7 just informational reasons only. Next slide.  
8 Peter Strait is going to present the next two  
9 topics.

10 MR. STRAIT: Thank you. Two of the  
11 measures that we looked at on the Residential  
12 side for reducing energy were water heating and  
13 lighting. For water heating, we made a pretty  
14 significant improvement in that we have moved the  
15 baseline from storage water heaters to  
16 instantaneous water heaters, which is to say the  
17 baseline for a long time has been at about a .6  
18 energy factor where some of those rest, and by  
19 using this approach we're able to move that bar  
20 to a .8 or .82. We've done this by streamlining  
21 and consolidating the prescriptive options that  
22 we allow for water heating. We now have a  
23 prescriptive option for an instantaneous gas  
24 water heater, or for a storage gas water heater  
25 installed with short distribution runs and QII,

1 or a storage water heater above 55 gallons that  
2 has either the short distribution runs or  
3 insulated piping. We make that distinction  
4 because federal law does have a higher efficiency  
5 requirement for water heaters of that size.

6 I'd also like to say that this came about  
7 due to the hard work of our staff subject matter  
8 expert, our Staff Engineer, Danny Tam, along with  
9 the invaluable advice and guidance and analysis  
10 of Bill Pennington. Next slide, please.

11 For lighting, this is another place we've  
12 made. In this case, we've made the next logical  
13 step in that before we had certain areas of the  
14 home that required a certain percentage of high  
15 efficacy lighting and what we've done here is  
16 moved to having high efficacy lighting being the  
17 case throughout the home. The benefits here are  
18 very significant. There's a lot of energy  
19 savings to be had, but it also provides  
20 uniformity for the builder, it provides clear  
21 regulations and guidance for enforcing agencies.  
22 And in doing so, we've had to make a couple of  
23 other shifts in the way that we look at lighting  
24 in the home.

25 One thing that we've done is, because

1 we're now looking at every fixture that might be  
2 installed, previously the only lighting that  
3 would count as high efficacy would be permanently  
4 installed lighting, not anything that's  
5 removable, not anything that's in, for example, a  
6 screw-based socket where you can take the light  
7 out. Now we've shifted to say we will actually  
8 look at, if you've got a removable socket, we'll  
9 look at what you've put in there. So if you've  
10 got a screw-in LED or a screw-in fluorescent  
11 that's meeting everything that we need, we'll  
12 consider that to be a path for complying with  
13 Title 24.

14           The other thing that's taken place,  
15 though, because we're now looking at every  
16 fixture in the home, we want to make sure that  
17 we're pursuing efficiency, not conservation.  
18 Incandescent lighting has a lot of very good  
19 advantages, it provides a full spectrum, it dims,  
20 it doesn't flicker, it doesn't produce noise, and  
21 it comes on right away. All of these, we want to  
22 make sure that the lighting installed in the home  
23 meets those same targets and we know it's  
24 feasible and cost-effective for the lighting to  
25 get there. That way, we're not requiring people

1 to give up any of the benefits that they enjoy.  
2 Efficiency is about enjoying the same benefits of  
3 energy use at a lower energy cost.

4           So in Referenced Joint Appendix 8, we've  
5 now brought in the scope of that so any lighting  
6 technology can flow through that process and  
7 provided it hits those targets and shows that  
8 it's efficient and suitable for use in a  
9 residential home, it can be used to comply with  
10 these lighting requirements. This case about in  
11 large part due to the very hard work and  
12 dedication shown by our Staff Engineer, Simon  
13 Lee, so credit where credit is due there, as  
14 well.

15           MR. SHIRAKH: Next slide, please. Again,  
16 as I mentioned earlier, to get to ZNE, we have to  
17 create market conditions that would allow a  
18 transformation of high performance attics and  
19 walls. And so part of that was a collaboration  
20 among the Energy Commission, CPUC, the Utilities,  
21 and the CBIA, to come up with a package of  
22 incentives and educational programs for builder  
23 support, design assistance, in-field training of  
24 the trades, and also targeted incentives for  
25 specific measures such as High Performance

1 Attics. And all of these are designed to  
2 basically create a more regulated market before  
3 the effective date for these measures. Next  
4 slide, please.

5 We also are receiving support from the  
6 Commission's own EPIC Program and this is on job  
7 training for construction of high performance  
8 attics and walls for new homes constructed in a  
9 manner consistent with the proposal for the 2016  
10 Standards and to complement design assistance and  
11 training programs provided by the IOUs.

12 What the EPIC Program does, it basically  
13 takes measures that are demonstrated in the  
14 arrows below and applied research and development  
15 to technology demonstration and market  
16 facilitation, and we think the same approach  
17 would help us with market transformation of High  
18 Performance Attics and Walls. Next slide,  
19 please.

20 For switching to Non-Res, again as we  
21 mentioned, our focus basically was to keep up  
22 with national standards so we don't fall behind  
23 while we're working on Residential ZNE, equipment  
24 efficiencies, envelope U-Factors, indoor lighting  
25 and outdoor lighting. Items 5 and 6 are actually

1 new to Title 24, they were part of ASHRAE, but  
2 they were not part of Title 24, that's Elevator  
3 and Escalator efficiency measures, and windows  
4 and doors, HVAC, lock-out sensors. Next slide.

5 We also have spent significant time on  
6 simplification of lighting alterations in  
7 existing buildings. We heard comments that the  
8 2013 standards language was difficult to  
9 understand and confusing. We think we've made  
10 improvement to that and we also provided for  
11 small projects relief from the more complex  
12 control requirements in exchange for more power  
13 reductions. And I think we'll be talking about  
14 this a little bit later on today.

15 The result, we think, is a set of  
16 Standards that is balanced, it saves actually  
17 more energy than the 2013 Standards, and we're  
18 prepared to demonstrate that today. And it does  
19 simplify the requirements and it does provide  
20 relief for small businesses and small projects  
21 from certain control requirements.

22 The other kind of a visionary, or  
23 probably the only visionary measure we have for  
24 2016 Nonres Building is the proposed modeling  
25 rules for thermally driven chillers, and this is

1 basically there to pave the way to 2030 ZNE Goal,  
2 by taking advantage of the heat of the sun, or  
3 waste heat in the building and other sources of  
4 heat to cool the building. And so if you look at  
5 the problems with ZNE for Nonres buildings, you  
6 know, the building envelope and lighting are  
7 pretty good, the problem we have is mechanical,  
8 so this is a step in the right direction. Again,  
9 this is not, this is just for information here,  
10 it's not part of the rulemaking, it is part of  
11 the ACM Reference Manual. But it's important to  
12 highlight it and we probably have to do the same  
13 thing we did for High Performance Attics and  
14 Walls to make this a reality. Next slide will be  
15 presented by Peter.

16 MR. STRAIT: Thank you. We've also as a  
17 team made a very thorough pass through all of our  
18 regulations to look for opportunities to simplify  
19 and clarify the language.

20 I'm going to run through these very  
21 quickly. We've looked at the signature  
22 authority, we aligned it better with the  
23 California Building Professions Code. The  
24 Acceptance Technician Certification Provider, we  
25 simplified some of that language, made it more

1 readable, and also provided a needed ability to  
2 amend a submitted application.

3           For Energy Management Control Systems, we  
4 provided some clarification about when they might  
5 operate as thermostats or lighting controls, or  
6 perform those functions. For Nonresidential  
7 insulation, we tried to consolidate what had been  
8 spread over several sections into one section for  
9 consistency. For commissioning, we streamlined  
10 that language, made it more readable and more  
11 clearly defined when it was applicable.

12           Nonresidential lighting controls and  
13 130.1, we made a pass-through there to make them  
14 more readable. Nonresidential electrical power  
15 distribution systems, similarly.

16           Computer rooms and data centers, we  
17 addressed an odd question about the interaction  
18 of those two definitions, so managed to  
19 straighten those out. Residential HVAC  
20 requirements, we looked very closely at, for  
21 example, the refrigerant charge verification  
22 protocol and streamlined that language, made it  
23 more understandable, and more clear in its  
24 application.

25           We updated the references to ASTM Tests

1 that we rely on to reference current versions.  
2 We updated the U-Factor Tables that we rely upon.  
3 We've looked at some of the language for  
4 Occupancy Control Smart Thermostats and made some  
5 necessary adjustments to allow for networked  
6 systems to fulfill that role and be recognized as  
7 fulfilling that role.

8           And for the Alternate Calculation Method  
9 Approval Manual, we took what was formerly two  
10 manuals, combined them into one because a lot of  
11 the language was overlapping, and provided a  
12 clear separation between what obligations are the  
13 Energy Commission's, what obligations are placed  
14 on folks that have software products they want to  
15 bring in for approval, and what the sets of  
16 requirements were.

17           In addition, we've made numerous small  
18 edits all throughout the document to enhance  
19 clarity, improve consistency, improve  
20 readability, and hopefully thereby improve  
21 compliance and enforcement. Next slide, please.

22           MR. SHIRAKH: So as far as the tools for  
23 2016 Standards, they will be ready on time, you  
24 know, the tools are already under development.  
25 For 2013 Standards, we had two kind of

1 groundbreaking major issues, tools that we had to  
2 completely develop, and one was revisions to the  
3 Residential and Nonresidential Computer  
4 Simulation Tools, and the second one was the  
5 expansion of the data registries for Residential  
6 Compliance documents, aka Forms.

7           So the heavy lifting was done as part of  
8 the 2013 Standards. For 2016, the updates are  
9 relatively minor, you know, the tools are  
10 developed, we're just basically updating them for  
11 any new information or measure that we're  
12 considering for 2016. And again, staff is  
13 already updating the software tool, there's  
14 versions of 2016 Standards version already  
15 available. And we're working on the Compliance  
16 Manual language already, even before data option.  
17 And these tools will be available by January  
18 2016, a year ahead of time to give the industry,  
19 HERS Providers, and builders and everyone to get  
20 ready for the effective date. And this hopefully  
21 will go very smoothly. Next slide, please.

22           We did option these measures in 2016  
23 Standards, we're getting very close to the  
24 requirements that are needed to achieve ZNE.  
25 Next slide.

1           But we're not done yet. We still have  
2 one more cycle to go and much work remains to get  
3 to the ZNE and here is probably a partial list  
4 considering a few additional measures such as  
5 QII, Quality Insulation Installation, and others  
6 that are cost-effective and we would probably  
7 consider those as part of the Prescriptive  
8 packages. There are some Climate Zones like 15  
9 and probably 11 and 13, extreme cooling Climate  
10 Zones. We still need to improve the performance  
11 of the home, otherwise we'll end up with a very  
12 large PV system to get to ZNE, so we have work to  
13 do in a couple or three Climate Zones, and  
14 perhaps others.

15           Evaluate options for homes that are not  
16 able to reach ZNE. There may be some homes that  
17 they just can't have PV system on them because of  
18 obstructions, adjacent homes, and so forth. We  
19 need to deal with that and also the  
20 considerations of community solar and other  
21 offsite issues.

22           Probably number four bullet is the most  
23 significant one, it's a whole host of regulatory  
24 issues that we need to address to get to ZNE  
25 harmonizing renewables such as PV with grid,

1 addressing potential for Smart Inverters and  
2 Batteries, and incorporating upcoming CPUC  
3 Decisions into the Grid impacts. So those will  
4 be the type of things we'll be considering as  
5 part of the IEPR and 2019 Standards. Next  
6 please.

7           Again, I just wanted to pause for another  
8 moment and acknowledge the effort of the team,  
9 both staff and our consultants and IOUs and their  
10 consultants have been very invaluable in  
11 supporting the Standards.

12           MR. STRAIT: I'd actually like to quickly  
13 add to that, it's not just an effort by our team,  
14 our entire Division, our Office Manager, all of  
15 our Units, people were pitching in on this,  
16 people were contributing. We had excellent  
17 support from the Dockets Unit, for example, in  
18 trying to get some of the last minute comments  
19 looked at and docketed so that we could review  
20 them. It's been a whole building effort, so it's  
21 really, you know, it makes me proud to work here.

22           MR. SHIRAKH: One slide before that,  
23 please. We're not going to Yosemite just yet.  
24 So with that, staff requests Commission approval  
25 of the Negative Declaration of the 2016 Update to

1 the Building Energy Efficiency Standards and the  
2 Proposed 2016 Update to the Building Energy  
3 Efficiency Standards in California Code of  
4 Regulations Title 24, Part 6, Associated  
5 Administrative Regulations in Part 1, the  
6 Reference Appendices, and the Alternative  
7 Calculation Method Approval Manual. So with  
8 that, I'll be happy to take any questions.

9 MR. BREHLER: Excuse me, Mazi, this is  
10 Pippin Brehler with the Chief Counsel's Office.  
11 I understand that you also circulated an Errata  
12 document, so you want to specifically ask for  
13 that.

14 MR. STRAIT: Yes. We have circulated a  
15 revised version of the Resolution Adopting the  
16 Negative Declaration and the Proposed Standards.  
17 This merely adds to the Appendix that has Errata  
18 in it, a handful of items that were discovered  
19 between when the Resolution was originally  
20 published and today.

21 CHAIRMAN WEISENMILLER: Okay, so we're  
22 ready to start taking public comment. Again,  
23 these are Res, we have some commenters that have  
24 comments on both, so I will call them first on  
25 Res, and then I'll call them again on Nonres. So

1 let's start with Bob Raymer.

2 MR. RAYMER: Well, thank you Mr. Chairman  
3 and Commissioners. I'm Bob Raymer with the  
4 California Building Industry Association,  
5 Statewide Trade Association with 3,000 member  
6 companies involved in residential and light  
7 commercial.

8 CBIA supports the adoption of the  
9 proposed changes to Part 1 and Part 6 today.  
10 I've also been asked by the California Business  
11 Properties Association to indicate their support  
12 on the Nonresidential provisions, which I'll do  
13 later on today.

14 Both CBIA and CBPA would like to  
15 recognize the efforts, in particular of Mazi  
16 Shirakh, Bill Pennington, Eurllyne Geisler, Dave  
17 Ashukian, Patrick Saxton, and especially  
18 Commissioner Andrew McAllister. It is largely  
19 due to their efforts that this package includes a  
20 historically large increase in energy savings  
21 while also providing an impressive level in  
22 design flexibility, and still maintaining a  
23 sensitivity to increased cost, that's kind of a  
24 hard nut to crack, but we spend a lot of work on  
25 that.

1           Of particular note, as Mazi has already  
2 mentioned, were the two full day forums that CBIA  
3 hosted with the CEC out at SMUD Headquarters,  
4 these were standing room only, well over 100  
5 participants in each one of them, effectively  
6 representing industry, building officials, CEC  
7 staff, government, local government, and  
8 manufacturers from all over the country.

9           These provided a very productive setting  
10 where the stakeholders were able to think out  
11 loud, basically the CEC staff provided their  
12 goals and there was a lot of feedback on every  
13 one of them on problems we could run into,  
14 potential solutions to those problems. Everybody  
15 came away from it learning a lot from these, and  
16 we'll be hosting these in the future. And given  
17 how successful they were, you might ask why  
18 didn't we think of this earlier; you're never too  
19 old to learn, so I figure after 30 years, maybe  
20 get something right. So here we go.

21           Anyway, CBIA and our consultants also  
22 worked extensively with CEC staff as we always  
23 did on developing cost of compliance data with  
24 each of the four main proposals here. We  
25 completed this cooperative effort in late January

1 with the CEC estimating a total cost of around  
2 \$2,600 to \$2,700 which is right where we're at  
3 with about \$2,700. And given where we were back  
4 in the '80s and '90s, to be that close is  
5 remarkable. So while this is a significant  
6 amount, there's no question that the CEC staff  
7 made every effort to keep the overall cost in  
8 mind by still working hard to meet Zero Energy  
9 goals.

10           Returning to the issue of design  
11 flexibility, industry looks forward to working  
12 with the insulation manufacturers, the Public  
13 Utilities Commission, and the Energy Commission  
14 in addressing the two biggest changes with this  
15 set of Regulations, that being the Advanced Wall  
16 Systems and the High Performance Attics. While  
17 both of these measures were found to be cost-  
18 effective in most Climate Zones, they also  
19 represent a significant departure in longstanding  
20 construction practice. This is especially  
21 evident with the proposed changes in wall design.  
22 Why both of these changes are achievable, they  
23 will not happen overnight. Considering all the  
24 engineers, designers, builders, contractors, site  
25 superintendents, plan checkers, and building

1 inspectors, there are literally thousands of  
2 individuals throughout the state that are going  
3 to need to get up to speed on these changes in  
4 coming years.

5           To that end, the PUC and the CEC are  
6 already working with the production housing  
7 industry and manufacturers in an effort to  
8 promote high quality compliance well in advance  
9 of 2017. The information obtained from these  
10 early efforts, as Mazi made mention to, will in  
11 turn be used to assist other builders with these  
12 measures going forward. Looking beyond today's  
13 anticipated adoption, CBIA is looking forward to  
14 working with CEC staff and the California  
15 Building Officials in efforts to simplify  
16 compliance documentation and inspection.

17           In addition, we look forward to working  
18 with CEC staff and other interested parties in  
19 updating the ACM Reference Manual over the next  
20 six months. Of particular interest, industry, as  
21 Mazi already mentioned, is the proposed  
22 compliance credit for PV systems. CBIA strongly  
23 supports this increasing amount of the existing  
24 compliance credit that can be gained from the use  
25 of rooftop solar PV for several important

1 reasons.

2           First off, as we all know, California has  
3 established a very aggressive goal of getting to  
4 Zero Net Energy by 2020 for Residential  
5 dwellings. This is the last update we're going  
6 to have before the series finale come 2020. And  
7 the fact of the matter is, while we have several  
8 large production builders who have been putting  
9 solar on as a standard feature, resulting in  
10 thousands of these systems installed, there are  
11 still hundreds of residential construction  
12 companies with little or no familiarity with  
13 solar. That has to change quickly and it needs  
14 to change in a quality way. And the CEC has used  
15 this approach for decades, basically putting  
16 something as a compliance option, moving it over  
17 to the prescriptive budget package, and then  
18 ultimately a mandatory measure. And so this is  
19 just simply enhancing on what we've already got.

20           And in addition, this is going to help  
21 support the PV market at a time when incentive  
22 dollars, particularly at the State level, are  
23 beginning to sort of end their availability.

24           And lastly, local REACH Codes, the fact  
25 of the matter is we're going to have a great many

1 jurisdictions that are going to go with either  
2 Tier 1 or Tier 2, and perhaps even the new ZNE  
3 tier package. And so with that, we're going to  
4 need as many compliance options as possible to  
5 meet this; obviously, solar is a part of that, so  
6 once again we look forward to working with the  
7 insulation manufacturers and the CEC staff in the  
8 development of the ACM. We strongly support  
9 adoption today. Thank you.

10 CHAIRMAN WEISENMILLER: Thank you. Let's  
11 go to Meg Waltner.

12 VICE CHAIR DOUGLAS: Actually, while  
13 she's walking up, I just wanted to pipe up here  
14 and express my appreciation to Bob Raymer and his  
15 team because, you know, I certainly -- we had a  
16 lot of conversations in the 2013 Standards that  
17 culminated in a very strong and nice package in  
18 2013, but also a lot of work that needed to be  
19 done on some of the very same measures that are  
20 really the foundation and the core of the package  
21 this year. So I really appreciate the creativity  
22 and the problem solving that you and others  
23 brought to the table for this package.

24 MS. WALTNER: Meg Waltner with the  
25 Natural Resources Defense Council. Good morning,

1 Commissioners, and thank you for the opportunity  
2 to speak today. I want to start off by thanking  
3 the Commissioners and the staff of the CEC for  
4 the hard work in the 2016 Standards. You know, I  
5 think there's been a lot of work over the last  
6 year and a half and it really shows in the 15-day  
7 language how much work has gone into this.

8 I'm here today to voice NRDC's support  
9 for the Standards and the 15-day language and  
10 respectfully ask the Commission to adopt them  
11 today. Today's Standards will add to the long  
12 history of energy savings from Title 24, which  
13 has saved Californians over \$30 billion since the  
14 '70s.

15 As the presentation mentioned, the  
16 Proposed Standards will reduce regulated energy  
17 use in homes by almost 30 percent, which is an  
18 important step towards the 2020 ZNE Goal, also  
19 large electricity and therm savings and reducing  
20 the associated pollution with those.

21 While today's standards make a big step  
22 forward, there's still a long way to go for 2020  
23 and we encourage the CEC to start thinking about  
24 the 2019 Code soon. You know, there are issues  
25 that NRDC commented on previously in this

1 rulemaking that I'm not going to outline here,  
2 that haven't been addressed today and we're  
3 looking forward to continuing to work with you on  
4 those going into 2019.

5           As has been noted, there's one important  
6 issue for 2016 that isn't addressed in the 15-day  
7 language, and that's the PV Credit. NRDC has  
8 supported the concept of a limited PV credit, but  
9 believe the details on this are really important  
10 and so we'd like to see this developed in an open  
11 and transparent process and specifically would  
12 like 45-day language on the PV Credit. That  
13 concludes my comments. Thank you again for the  
14 hard work on the Standards and for the  
15 opportunity to speak, and we urge you to adopt  
16 the Standards. Thank you.

17           CHAIRMAN WEISENMILLER: Thank you.  
18 Manuel Alvarez.

19           MR. ALVAREZ: Good morning,  
20 Commissioners. Manual Alvarez, Southern  
21 California Edison. I'm actually here to support  
22 the Standards and ask for your positive vote. I  
23 think Mazi this morning talked about his  
24 discussion as collaborative, and I think he  
25 underestimated the amount of work that it took

1 place to get where we are today, so I think you  
2 need to recognize that effort, it was a yeoman's  
3 job to get there.

4 As we take this first step on the 2016  
5 Standards and move to 2019, and ultimately to the  
6 Net Zero Energy Homes, I think we still have got  
7 some heavy lifting to do, and we look forward to  
8 working continuously in the collaborative process  
9 with everybody here at the Commission, and I  
10 think you should be proud of these efforts and  
11 the work that you've undertaken. So with that, I  
12 ask your support.

13 COMMISSIONER MCALLISTER: Thanks, Manny.

14 CHAIRMAN WEISENMILLER: Thank you. Let's  
15 go on to Lindsay Stovall, American Chemistry  
16 Council.

17 MS. STOVALL: Good morning,  
18 Commissioners. My name is Lindsay Stovall and I  
19 am making my comments today on behalf of the  
20 American Chemistry Council. We applaud the  
21 Commission for its leadership role in promoting  
22 building energy efficiency and these new  
23 Standards. ACC represents the raw materials  
24 suppliers and manufacturers of products like  
25 building insulation that are used by the

1 construction industry to meet today's energy  
2 efficient standards. Title 24 Energy Efficiency  
3 Standards have set a high water mark for building  
4 energy efficiency in California and have been  
5 used as guideposts for energy efficiency  
6 requirements in other jurisdictions. ACC has  
7 been involved in the development process for the  
8 2016 Title 24 Energy Efficiency Standards and is  
9 generally supportive of the 15-day language for  
10 the Standards.

11           The Proposed Standards continue to  
12 recognize the benefits of energy efficiency by  
13 including requirements for High Performance  
14 Attics and Walls; however, we share concerns with  
15 others in the Building Energy Efficiency  
16 community regarding a proposed compliance credit  
17 tradeoff between PV systems and building thermal  
18 envelope requirements.

19           Based on recent conversations with the  
20 CEC, we understand that the credit is being  
21 proposed as a stepping stone to introduce new  
22 requirements and design concepts for building  
23 thermal envelopes. The foundation of a Zero Net  
24 Energy home is thermally efficient building  
25 envelope. The requirements for building thermal

1 envelopes included in the 15-day language are key  
2 to achieving the State's goal of Zero Net Energy  
3 for all new residential construction by 2020.

4           Design concepts like unvented attics are  
5 already saving energy in California homes and we  
6 look forward to working with the broader building  
7 industry to make these savings commonplace in all  
8 homes. We also recognize the challenges that lie  
9 ahead for both the CEC and the building and  
10 construction industries in moving to Zero Net  
11 Energy.

12           As manufacturers of high performance  
13 building products, we look forward to working  
14 with all stakeholders to ensure that  
15 technologies, knowledge and skill necessary to  
16 achieve this goal are readily available. We  
17 would like to thank the CEC for taking time over  
18 the last week to discuss our concerns with the  
19 compliance credit. We look forward to continuing  
20 this discussion with the Commission on the credit  
21 and possible alternatives during future meetings,  
22 as well as at the workshops that are planned for  
23 this summer. Thank you for this opportunity to  
24 comment.

25           CHAIRMAN WEISENMILLER: Thank you. Let's

1 go to Curt Rich.

2 MR. RICH: Good morning. My name is Curt  
3 Rich. I lead the North American Insulation  
4 Manufacturers Association, the trade association  
5 for the Fiberglass Manufacturing Industry. Many  
6 of our members, including Owens Corning, Knauf,  
7 and Johns Manville have manufacturing facilities  
8 in the State, and all of our members sell product  
9 into the building industry in the state.

10 First I want to thank the Commission and  
11 Commission staff for their work on update of  
12 Title 24 as expressed in both the 45-day language  
13 and the 15-day language here, it's a great step  
14 forward.

15 But I want to focus my comments today on  
16 the changes to the 2016 Title 24 Energy  
17 Efficiency Standards that are not explicitly  
18 detailed in the documents that you are  
19 considering today. I'm referencing the Draft  
20 PVCC outline that was first presented to the  
21 public at a meeting on March 2nd. This  
22 compliance credit allows a builder to avoid  
23 complying with the new high performance attic and  
24 wall insulation requirements when a rooftop PV  
25 system is installed. NAIMA is concerned with the

1 lack of public transparency behind this proposal,  
2 particularly when it's inconsistent with  
3 California's longstanding energy policy of the  
4 past decade.

5           We're also concerned with the proposed  
6 outline of PVCC on substantive grounds. On  
7 process, there's been a lack of opportunity for  
8 public review and engaged comment prior to the  
9 adoption of a policy which allows power  
10 generation to be substituted for improved energy  
11 efficiency. A clear reversal of the preferred  
12 ordering for energy resources is articulated in  
13 California's loading order. To our knowledge,  
14 there have been no workshops held in the past two  
15 years specifically dedicated to discussing this  
16 change in State Energy Policy. Language specific  
17 to the PVCC has not been presented, and the  
18 credit is not being subjected to 45 or even 15-  
19 day language.

20           Our reasons for concern of this PVCC are  
21 many, but I'd like to focus on two. First, the  
22 proposal undercuts California policy prioritizing  
23 energy efficiency over power generation for  
24 projects funding and policy. Building Energy  
25 Codes are the vehicle to identify and establish

1 all cost-effective measures that can be  
2 incorporated into a home to maximize its  
3 efficiency over its life. Lifetime envelope  
4 efficiency should never be traded for distributed  
5 residential power generation, including PV,  
6 particularly when these are likely to be owned by  
7 third parties and influenced by a separate set of  
8 policies and incentive programs.

9           Second, while the credits being proposed  
10 is outside the mandatory Code requirements and  
11 therefore does not require a cost benefit  
12 analysis, our independent analysis of the  
13 proposal shows it to be significantly less cost-  
14 effective in most climate zones than the new  
15 envelope efficiency requirements that it will be  
16 traded against in the vast majority of these  
17 climate zones.

18           Finally, some might say that this  
19 proposal simply builds on the rooftop solar  
20 credits established in 2013. That measure  
21 allowed a modest credit for installed rooftop  
22 solar if the builder used the more efficient HVAC  
23 system than was required by Federal Law. In  
24 contrast, this proposal allows for a  
25 significantly larger credit and allows for the

1 construction of a less efficient home so long as  
2 the roof is made available for power production.  
3 That's a policy that deeply troubles us and we  
4 believe the Commission should give great pause  
5 before moving down this path.

6 In closing, NAIMA fully supports the  
7 Governor's greenhouse gas reduction goals and the  
8 renewable electricity generation goals embedded  
9 in them. We also support California's efforts to  
10 transition to an electric system to one that is  
11 more reliant on distributed generation and takes  
12 full advantage of residential power generation  
13 technologies, including PV.

14 But to move away from the benefit of  
15 energy efficiency and renewable energy measures  
16 complementing one another is not the way to  
17 achieve these goals.

18 I conclude my remarks by asking the  
19 Commission to proactively and publicly ensure  
20 that the proposed PVCC does not proceed without  
21 establishing a clear, open and deliberative  
22 process for its full evaluation.

23 And I would just close by saying --

24 CHAIRMAN WEISENMILLER: Thank you, but  
25 you've gone well over, so I want to remind

1 everyone three minutes. But again, I'm sure it's  
2 important so will certainly let you go further,  
3 but the third stop is enough. Rick Miller,  
4 please. I believe you want to talk on the  
5 Residential lighting controls.

6 MR. MILLER: Hello, I'm Rick Miller with  
7 RNM Engineering, an electrical engineering  
8 consulting firm in California.

9 I've been reviewing the Code and the  
10 proposed language and I particularly comment this  
11 morning about the Residential lighting section,  
12 150.0k. Several administrative items, the word  
13 "Residential" should be inserted in several  
14 places in the subparagraphs. The question about  
15 the blank electrical box, I think, needs a  
16 definition, whether a studio or efficiency  
17 apartment, since it per se has no bedrooms, would  
18 it be allowed to have a blank electrical box?

19 Night lights, is there a limit to the  
20 quantity of night lights that are allowed in a  
21 room and what rooms are allowed to have night  
22 lights, I think needs clarification.

23 There was a new item regarding under  
24 cabinet lighting shall be switched separately  
25 from other lighting systems. The question is

1 whether that under cabinet light, if it were  
2 controlled by a separate channel of a EMCS,  
3 whether that would be compliant.

4           Regarding residential outdoor lighting,  
5 there's a paragraph construction. It consists of  
6 mandatory item and then an "and" and then an "or"  
7 and then an "or or or" I think all the three or  
8 four "or" items should be consolidated as one  
9 group of "ors."

10           It appears that the residential outdoor  
11 lighting for larger projects would be governed  
12 under the nonresidential if that was the intent.

13           Parking garages, there was a reference  
14 early in the document regarding residential  
15 parking garage of less than seven cars. There's  
16 no paragraph covering parking garage for less  
17 than seven cars, so that needs to be added.

18           And then the last comment is regarding  
19 controls in corridors and stairwells, it talks  
20 about a 50 percent reduction and coming on at  
21 pass of egress, but the subject does not cover  
22 when the light goes to 50 percent reduction or  
23 when the light is returned to 100 percent. So  
24 those items need to be addressed. That's it.  
25 Thank you.

1           CHAIRMAN WEISENMILLER: Thank you. I  
2 believe we have no one else in the room who wants  
3 to speak on Residential, so let's go to the  
4 phones. First we have two people from TRC,  
5 please do one presentation. Go ahead. Is anyone  
6 -- okay, so let's go on to the next speaker, I  
7 think it's Mr. Roy from Goodman?

8           MR. ROY: Yes, hello. Thank you for the  
9 opportunity to comment on this. I would like to  
10 thank the CEC for --

11           COMMISSIONER MCALLISTER: Is there  
12 anybody -- can we control individual callers?

13           CHAIRMAN WEISENMILLER: Yeah, mute the  
14 first and let us go on to the second, please.  
15 Okay. Got it? Let's try Mr. Roy ahead.

16           MR. ROY: Hello?

17           CHAIRMAN WEISENMILLER: Yes.

18           MR. ROY: Can you hear me?

19           CHAIRMAN WEISENMILLER: Yes, we can.

20           MR. ROY: Okay. So I was saying that  
21 while the intent was to clarify certain  
22 provisions in the Title 24 language, I think  
23 there are some sections that get adversely  
24 impacted; for example, Section 150.1c7, the  
25 weigh-in charging procedure at an outdoor

1 temperature of less than 55 degrees Fahrenheit  
2 can place an adverse effect on the compressor,  
3 and I think that's something that needs to be  
4 evaluated further. I believe that the Air-  
5 Conditioning, Heating and Refrigeration Institute  
6 had provided some technical basis for why the 55  
7 degree Fahrenheit temperature would cause  
8 compressor issues in the past. I think those  
9 comments were submitted in 2011 and the staff  
10 should take a look at that in more detail. And I  
11 think this change from 70 degree Fahrenheit to 55  
12 degree Fahrenheit occurred sometime between the  
13 45-day to 15-day period. I didn't hear any, I  
14 guess, explanation for why that occurred at this  
15 hearing, so if Mazi or another staff member could  
16 clarify that, it would be great as to why that  
17 change occurred.

18           The second comment I have is the 350 CFM  
19 per ton requirement. Although it has been in  
20 place for some time now, there have been changes  
21 that have been made to the AHI Directory to  
22 reflect air flow performance and those numbers  
23 are on there, as well as the fact that needs to  
24 be considered is that Manufacturers rate their  
25 performance and certify to DOE and requiring a

1 certain air flow, you know, which is beyond the  
2 Federal or EER requirement in the case of  
3 California, would most likely compromise the  
4 efficiency in the equipment. So we'd like the  
5 CEC to take a more detailed look of the 350 CFM  
6 per ton requirement. I know that it was put into  
7 place because there was no public data on air  
8 flow, but that is in place now, so maybe it needs  
9 to be revisited.

10           The third comment I have is Section  
11 150.1c9 addresses ducts and air handlers in  
12 conditioned spaces, but does not specify a  
13 maximum external static pressure. Not specifying  
14 such a value would continue to ignore the  
15 potential issues that could arise due to poor  
16 duct work practices. And there are specific  
17 references in the U.S. HUD Standards, although  
18 it's for manufactured homes, but that might be  
19 something to take a look at and maybe specify the  
20 static pressure within this section to add  
21 further clarity.

22           The last comment I have is regarding the  
23 ACM Reference Manual since it was mentioned in  
24 the presentation slides. There was a provision  
25 that was added in 2014 for mini-splits and it

1 says until there is an approved compliance option  
2 for ductless heat pumps, they are assimilated as  
3 a split system equivalent to standard design with  
4 default duct conditions. I would recommend the  
5 CEC to revisit that and reconsider the fact that  
6 there is an active project that is being  
7 sponsored by PG&E on California Central Valley  
8 research homes to look into ductless heat pumps  
9 further, and the consultants that developed the  
10 study which led to this conclusion in the ACM are  
11 essentially working on that PG&E study, as well.  
12 And the industry in parallel has also taken some  
13 efforts to develop a checklist, a HERS Inspector  
14 Checklist for such products and share that with  
15 CEC staff. So I would recommend that until those  
16 findings are determined, because these products  
17 are highly efficient, that this ACM sentence be  
18 removed until the findings of that study are  
19 determined. With that, I'm finished with my  
20 comments.

21 CHAIRMAN WEISENMILLER: Okay and, again,  
22 I need to keep reminding people three minutes.  
23 Let's go to George Nesbitt.

24 MR. NESBITT: Can you hear me?

25 CHAIRMAN WEISENMILLER: Yes.

1           MR. NESBITT: First a clarifying question  
2 on the Part 11 CALGreen portion. That does not  
3 appear to be part of today. It is scheduled for  
4 the future?

5           COMMISSIONER MCALLISTER: That's correct,  
6 it's not today.

7           MR. NESBITT: Okay. I would like to say  
8 that -- George Nesbitt, I'm a HERS Rater -- the  
9 Energy Code is not too stringent, the problem is  
10 it's too complex and too complicated. The 2013  
11 Code and all the various manuals, appendices and  
12 whatnot are 3,500 pages long. All of the Title  
13 24 Building Codes, Mechanical Codes, CALGreen in  
14 total are 6,000 pages. So we have a real problem  
15 with over-complication. And this affects  
16 compliance. And, you know, the Code is not  
17 complied well with, we're seeing both positive  
18 and negative compliance issues with the 2013  
19 Code. We also see horrendous fraud in energy  
20 modeling out there, and these are all things we  
21 need to work on.

22           In the 2013 Code Update, I called staff  
23 on an issue of the Code that was written one way,  
24 but was completely presented another way and I  
25 asked, how do we fix problems? Well, they said

1 once every three years. So I really think when  
2 we have an issue with how something is written in  
3 the Code, if there is a problem, we really need  
4 to go back and correct it rather than sort of  
5 sweeping it under the rug, and so when you  
6 publish Errata you really need to republish  
7 manuals with the corrections so it's there for  
8 people to find. Anyway, I guess that's it for  
9 now. I mean, I think there are positive and  
10 negative changes, there's a lot of proposals that  
11 have been made to make things better that have  
12 not been acted on, there are times that things  
13 that have been acted on and problems have been  
14 made worse. I think the ductless mini-splits is  
15 a great example of that. You know, we are moving  
16 generally in the right direction, but we need to  
17 do a better job to simplify things, make the  
18 process easier, because the process is too  
19 complex and that's part of why we don't have  
20 compliance. Thank you.

21 CHAIRMAN WEISENMILLER: Okay, thank you.  
22 So I'm going to go back to the basic question. I  
23 think we've covered everyone except the TRC  
24 people who want to speak on residential on the  
25 phone. So if there's anyone else who wants to

1 speak on Residential on the phone, please do that  
2 now, and then I'm going to turn to the staff to  
3 respond, particularly to the more technical  
4 questions. And then we'll go to the dais and  
5 talk about the Residential part of the Code. So  
6 is there anyone else on the line? On  
7 Residential. Okay, unless you have someone,  
8 let's go to Mazi to start responding.

9 MR. SHIRAKH: Thank you. On the  
10 Residential Lighting issues, I think we can  
11 address most of those questions in our Compliance  
12 Manuals. I don't think there's anything we need  
13 to do in the Regs. And they asked for  
14 definitions and clarifications, you know, we can  
15 do that as we're developing the Compliance  
16 Manuals.

17 On the AHRI comments, some of these  
18 comments are basically on 2013 Standards  
19 comments, not in the Updates, because we didn't  
20 propose changes to the 350 CFM or the static  
21 pressure.

22 There was a question about a change in  
23 something from the 45-day to the 15-day language  
24 --

25 MR. STRAIT: For weigh-in. The

1 clarifications in the streamlining that we add to  
2 the language relating to charge verification.

3 MR. SHIRAKH: Right. So, Mark, do you  
4 know anything about that?

5 MR. ALATORRE: Mark Alatorre, Engineer  
6 with the Building Standards Office. We didn't  
7 change the outside temperature from 55 to 70, I'm  
8 not sure what Mr. Roy was referencing there. We  
9 checked our hard copies of the 15-day language  
10 and it wasn't in there. As far as the 350 CFM  
11 and his comment about using air flows that are  
12 published with AHRI, not all air-conditioner  
13 manufacturers are part of that organization, so  
14 we'd have to look into that issue going forward  
15 for maybe 2019.

16 MR. SHIRAKH: Thank you.

17 MR. PENNINGTON: So I'd just like to  
18 comment on the mini-split points that were made.  
19 The research that the gentleman was referring to  
20 was initiated by the Energy Commission and we  
21 have been sponsoring it through the PIER Program  
22 first, and it's continuing. PG&E has stepped up  
23 to continue it, but the Energy Commission is  
24 actively involved in it. There are certainly  
25 performance issues and potentially comfort issues

1 with mini-splits and we want to make sure we get  
2 it right before we provide a substantial credit  
3 for those systems. So we're working very  
4 collaboratively with the industry to look into  
5 these issues, and that's a very successful  
6 activity. We're not there yet.

7 COMMISSIONER MCALLISTER: Thanks, Bill.

8 CHAIRMAN WEISENMILLER: Thanks, Bill.

9 MR. SHIRAKH: Do you want me to respond  
10 to the PV comment, as well?

11 CHAIRMAN WEISENMILLER: Sure.

12 MR. SHIRAKH: So just very briefly, the  
13 PV credit, as I mentioned, is a limited credit  
14 designed to replace or displace high performance  
15 attics and walls. In a sense, if a builder takes  
16 full advantage of that credit and displaces or  
17 replaces high performance attics and walls, you  
18 still end up with a building that's better than  
19 2013 standards with all the wall insulation and  
20 the ceiling insulation --

21 MR. STRAIT: Better insulated, you mean,  
22 specifically.

23 MR. SHIRAKH: Better insulated. And  
24 you're still going to have a better water heater  
25 and better lighting system, and probably as much,

1 if not more, insulation than a 2013 building  
2 which in itself was a very good building. So I  
3 wanted to make that clarification.

4           And also the process with this credit has  
5 been discussed in our staff workshops, we readily  
6 made it available, and we discussed it. It's  
7 something that the CBIA was interested in from  
8 the get go, so this was also brought up at both  
9 the forums, which were attended by many of the  
10 insulation manufacturers that were just  
11 mentioned. They were invited to attend, I don't  
12 know if they did. Again, the process for it,  
13 there's no 45-day or 15-day language, this is as  
14 part of the ACM Reference Manual, it will  
15 probably be approved by this Commission later  
16 this fall. We are going to be having workshops  
17 this summer, we'll be inviting all the  
18 stakeholders in there. The other important fact  
19 to remember is that it is a transitional credit  
20 for this round. You have to look at our ZNE  
21 approach in its entirety, which included high  
22 performance attics and walls, the incentives by  
23 the Utilities, the educational and training, and  
24 also the high performance, these are all designed  
25 to basically pave the path for high performance

1 attics and walls. And these are all kind of  
2 important pillars of this approach. You remove  
3 one of them, you know, the stool is going to  
4 collapse. So it is transitional credits and  
5 designed to assist builders to smooth into this  
6 process, that process will be publicly discussed,  
7 the measure, this summer in the coming months,  
8 and it is an important component of this  
9 approach. Thank you.

10 CHAIRMAN WEISENMILLER: Thank you. I  
11 believe we now have a gentleman from TRC on the  
12 line ready to speak. Please go ahead.

13 COMMISSIONER MCALLISTER: Is Mr. Pande on  
14 the line? Or is it David Douglas?

15 MR. PANDE: Hi. This is Abhijeet Pande  
16 from TRC and I'm calling in to support Mazi's  
17 statement and I'm here to answer any other  
18 questions you may have around the High  
19 Performance Attics topic.

20 COMMISSIONER MCALLISTER: Which statement  
21 are you talking about?

22 MR. PANDE: The comment Mazi just made  
23 about the High Performance Attics and High  
24 Performance Walls.

25 CHAIRMAN WEISENMILLER: Okay. Well,

1 thank you. Let's transition now, I think we've  
2 had all the public comment, to a conversation  
3 among the Commissioners on the Residential  
4 Standard.

5 COMMISSIONER MCALLISTER: So I'll lead  
6 off here. I want to just, by way of a preamble,  
7 I want to thank staff tremendously on this, you  
8 are part of an Augustus history of developing  
9 building standards, Building Energy Efficiency  
10 Standards, and I think if we take the long view,  
11 it's pretty incredible what the Commission has  
12 done to improve the building stock. I mean, now  
13 the first buildings that were covered, I owned  
14 one of them, maybe many of you do, that were  
15 built subject to earlier versions of the Building  
16 Efficiency Standards. And they have improved the  
17 quality of our housing stock now over the last 40  
18 years tremendously. I think there's just really  
19 no doubt about that -- for all the reasons that  
20 Mazi and others have mentioned, not just energy  
21 savings and performance, but just quality of  
22 life, living indoor spaces.

23 It's also driven a lot of technology  
24 development and I think if we continue to do  
25 that, we've seen in Payam's presentation earlier,

1 we've seen that if we put up a challenge how to  
2 build something better, on a performance basis in  
3 this case, which I think is a really great  
4 approach, it has even more promise than we've  
5 really used it for, the industry will respond.  
6 And I think that's really -- we've seen a lot of  
7 positive signals in that direction.

8           So I wanted to just put it in a little  
9 bit of context that this has I think spurred a  
10 lot of innovation over time, and I fully expect  
11 that as we move towards ZNE and the Residential  
12 sector, it will continue to do so and, as we get  
13 closer to 2020, this interplay between self-  
14 generation and energy efficiency is something  
15 that is really critical to get right. I think  
16 buildings are packages, they're integrated  
17 packages for technology, and how we approach that  
18 really matters. You know, if we silo one or the  
19 other, we end up possibly creating problems. And  
20 so in that context, I want to just make a few  
21 comments. First, to thank some more folks.

22           Mazi certainly really leading the charge  
23 here, I really appreciate all your effort and  
24 your demeanor and your willingness to interact  
25 with everybody and bring a thoughtful approach, I

1 very much appreciate that. Eurlyne, leading the  
2 team, I see her back there with a modest smile.  
3 Payam, Peter, Mark Simon, Bill Pennington,  
4 certainly, all of you in your areas have really  
5 done a great job and I've appreciated all the  
6 interaction that I've had, and I've been pretty  
7 involved in this, as I'm want to do on these  
8 issues. Dave Ashuckian and Christine Collopy,  
9 the leaders of the Division, very much have  
10 encouraged that process. Also, Pat Saxton, my  
11 Advisor on Efficiency and particularly the  
12 standards, he is just a really great resource for  
13 my office and the Commissioner generally, and is  
14 a great figurative ping pong player with all the  
15 issues that come up, and we've been really  
16 lobbying a lot of issues around and trying to  
17 figure out the best approach, and I really  
18 appreciate his positive and constructive  
19 contribution at every turn.

20           Also, Legal, Pippin, I want to thank you  
21 for all the work you've done, I think it's been  
22 really great to have that support and counsel.  
23 So, really, the whole Building Standards  
24 Development Team, so thank you.

25           CBIA, Bob and your crew, really it's been

1 great to build that trust and constructive  
2 relationship, you know, these are difficult  
3 issues and this is not easy. The marketplace is  
4 a complex thing and it is really necessary for us  
5 to all kind of roll up our sleeves and approach  
6 this with good faith, in a way that acknowledges  
7 the fact that these goals are challenging, but  
8 they're doable. And I think we've made a really  
9 nice step forward with that kind of collaboration  
10 and going forward to 2019 and 2020, I think it's  
11 even more critical that we continue that kind of  
12 constructive relationship. So thank you very  
13 much for your contributions.

14           The suppliers and manufacturers and  
15 building consultants who have been involved in  
16 this process, thank you, I think it's been really  
17 great to have all of you chiming in, varying  
18 opinions, quite a diversity of this whole  
19 building community, and everyone seems to have  
20 approached this with good faith and really with  
21 the best interests of the state in mind for the  
22 most part, and I really appreciate that.

23           SMUD provided some facilitation support  
24 and a place to have some meetings that I think  
25 have been very productive, so worked through some

1 of these issues with the various industry  
2 players, and I appreciate that, you know, without  
3 really just facilitating, helping us facilitate  
4 the discussion.

5           To the case teams for providing the early  
6 input, you know, we didn't take everything they  
7 did, but we built on much of it and we're in I  
8 think a better place for that. So I feel over  
9 the last 18 months or so I've met with most of  
10 the stakeholders and early on actually went down  
11 to the CBIA annual meeting and made the pitch  
12 down there and committed to flexibility, as long  
13 as we got the performance. And I think we see  
14 that in the walls and attics and some other  
15 places in the standards where we've been pretty  
16 tough on performance. We need to see the  
17 buildings perform, but there are many ways of  
18 doing things and the builders know how to build  
19 buildings and they know what their particular  
20 situation is, and their particular client, and we  
21 need to give them where possible, not  
22 compromising performance, we need to give them  
23 some various pathways. And so I think we've  
24 tried to do that and I believe we've been  
25 successful.

1           So let's see, you know, the substantive  
2 result here, and I'm talking now about  
3 residential, is incredibly positive. I mean, we  
4 really can't think about this cycle, as Mazi  
5 said, without thinking about the long term. We  
6 have goals, policy goals here, for ZNE, new  
7 construction by 2020. And this is a tremendous  
8 step forward towards that. You know, I think if  
9 we really push the envelope on efficiency, we  
10 will end up with more flexibility, with more head  
11 room, more space, to consider options in the  
12 self-generation arena. And for 2019, we have  
13 some sticky issues to work through. We need that  
14 head room, we need to be able to work on, you  
15 know, I didn't see the natural gas issue there,  
16 but that's another issue we need to work through,  
17 you know, what does that look like for ZNE. The  
18 onsite versus offsite issues, there are many  
19 issues in terms of how we treat self-generation  
20 for purposes of ZNE. And so clearing the path to  
21 be able to have those discussions productively  
22 with what's going to turn out to be I think quite  
23 a different set of stakeholders, or a bigger set  
24 of stakeholders, is really important and I think  
25 we've done a lot of that here. We've generally

1 paved a pathway where we can have those  
2 discussions as we try to get to the finish line  
3 on ZNE.

4           So I think, doing so, we're creating the  
5 best possible chance to get to the finish line  
6 with the Standards and we know it's technically  
7 possible. There are people building ZNE  
8 buildings out there, we're gathering a lot of  
9 experience professionally speaking, and in sort  
10 of the community of builders and support systems,  
11 support folks, consultants, and designers and  
12 architects, etc., and we're going to see the  
13 costs come down, that's the way innovation  
14 happens. We know that. And the question is how  
15 do we keep this process -- we need to really  
16 focus on keeping the process informed by the  
17 actualities of the marketplace, and there are  
18 many of you who represent sectors of that  
19 marketplace, we really need you to participate in  
20 this, whether it's on the self-gen, whether it's  
21 on insulation, you know, building trades, etc.,  
22 really we need to inform those decisions and come  
23 down the right place based on what's actually out  
24 there in the world and where we think it's going.  
25 So this is not just sort of developing

1 regulations and chucking them over the firewall  
2 into the world and seeing what happens, this is  
3 really calibrating them to where things are at in  
4 the marketplace. And so that's been my direction  
5 all along, consistently, and I think staff has  
6 really responded very well to that.

7           So finally, you know, the compliance  
8 tools, I want to just reiterate the last point  
9 that Mazi made, it's really important. We pushed  
10 the ball forward tremendously in 2013 and now we  
11 have a solid foundation to keep implementing and  
12 improving on that, and it's really important for  
13 a smooth roll-out to get those tools done in a  
14 timely fashion. I know everyone sees the  
15 priority of that and we don't want to repeat some  
16 of the pain that we went through in 2013 to get  
17 there. And I don't think we will, I think we've  
18 got a great foundation to move forward for 2016.

19           And finally, on the PV credit, I just  
20 want to say this integrated approach is really  
21 necessary. Having said that, I believe and  
22 commit to having a process that allows all the  
23 stakeholders to put their information, their  
24 view, and their data into the process so that we  
25 come down at a place that makes sense, taking

1 into account that long view. So not that I'm  
2 promising to make everyone happy, but I'm making  
3 a commitment to a process. So with that, I'll  
4 pass it to any other one on the dais, any other  
5 Commissioner who wants to comment. I'll call out  
6 Commissioner Douglas, actually, too because I  
7 think you're still sort of in the after burner  
8 phase of 2013 --

9 COMMISSIONER DOUGLAS: I am, I was --

10 COMMISSIONER MCALLISTER: -- and we've  
11 built on a lot of what you did and I know you've  
12 been paying attention to this, but want to just  
13 thank you again for all the leadership leading up  
14 to this cycle, it's been a big help.

15 VICE CHAIR DOUGLAS: Well, thank you, and  
16 thanks for so adeptly grabbing the football and  
17 carrying it into the end zone here with the staff  
18 team and all the stakeholders. I got a briefing  
19 from staff on this some time ago and it was  
20 really helpful and both that briefing and today's  
21 presentation and comments by stakeholders  
22 definitely gave me a lot of flashbacks to 2013,  
23 to that set of Standards. And on the other hand  
24 it was really nice to hear, not only to see that  
25 a lot of the ideas that the staff advanced and

1 that we moved pretty far with in 2013, but in  
2 some cases made a very conscious choice not to  
3 enact in that set of Standards have been realized  
4 and not only realized but actually realized in a  
5 more flexible and more cost-effective way that is  
6 likely to be easier for the builders to adopt and  
7 ramp up and adopt quickly. And so I really again  
8 just want to emphasize my appreciation and the  
9 fact that I'm both appreciative and impressed at  
10 the nature and extent of that collaboration in  
11 this process, so definitely want to thank you and  
12 congratulate you for that, and many others.

13           So, you know, I do not have a lot of  
14 substantive questions. I appreciate the staff's  
15 note that some of the clarifications and issues  
16 that were raised in public comment can be  
17 addressed in the Compliance side, and so we'll  
18 definitely look for that. I also know that if we  
19 open the door and start talking about any small  
20 corner of these standards, we could talk about it  
21 for a very long time because buildings are  
22 complex and these systems are very complex, and  
23 so that's another reason why having a  
24 collaborative and open approach where we're  
25 really focused on creative problem solving and

1 bringing expertise to bear, to figure out how to  
2 do these things we want to do is so important.  
3 So those are my comments. I'll see what other  
4 comments Commissioners have.

5 COMMISSIONER MCALLISTER: One thing I  
6 wanted to just reiterate, you know, Mazi pointed  
7 out that just to highlight the level of  
8 collaboration here again, Mazi pointed out that  
9 as we move towards High Performance Walls and  
10 Attics, I think we listen to industry, realizing  
11 that it's a change in construction practice, and  
12 really staff just bent over backwards and I was  
13 very supportive of, okay, well how are we going  
14 to sort or provide some level of support and  
15 comfort that this is doable and that we're not  
16 going to just pull the rug out? Well, you know,  
17 we went to the PUC and they were open, and we got  
18 some ratepayer funds put on to incentives through  
19 the Cap Program, we talked to the R&D Division  
20 and sort of worked through, well, what's the need  
21 of the marketplace? And so there's an RFP for  
22 facilitation efforts and workforce training  
23 there, the IOUs are also doing some workforce  
24 training, so I think the idea that we're helping  
25 this market transition, you know, this

1 transformation process over time in a very  
2 forward thinking way is an example I think we're  
3 going to learn a lot from. And again, it  
4 represents a lot of collaboration. So another  
5 example of sort of like, "Okay, well, if we're  
6 really going to make this work in the  
7 marketplace, what do we have to do?" And so I'm  
8 grateful to staff for keeping at it.

9           COMMISSIONER SCOTT: I was just going to  
10 weigh in as the Public Member and kind of riff  
11 off of what you were just saying here, I mean,  
12 the innovative ways that you put together to  
13 engage with the building industry and with the  
14 other stakeholders and the staff and the PUC and  
15 everyone together, it's just great to see this  
16 type of really good robust public process and to  
17 have kind of a new process, a great way for  
18 getting public input on something as important as  
19 our 2016 Building Standards.

20           And I wanted to say also a thanks to Mazi  
21 and Peter and the team for giving me such a  
22 terrific and in-depth briefing, robust briefing  
23 on all of this, and to thank you, Commissioner  
24 McAllister, for your leadership on this and your  
25 very solutions oriented approach, as you would

1 say. I appreciate knowing that you've been doing  
2 the care and feeding of the 2016 Building  
3 Standards as we went along. So thank you very  
4 much for your leadership here.

5 COMMISSIONER HOCHSCHILD: I would echo  
6 those comments, Commissioner, and this is  
7 actually one of the things I'm most excited about  
8 for the legacy we can leave, is getting these  
9 Standards right.

10 So I spent five years of my career in the  
11 manufacturing sector and in manufacturing, you  
12 know, you design products not just for what you  
13 like, but for manufacturability, right? And in  
14 many ways I think with the Building Codes when  
15 you move to that you design for enforceability  
16 and, you know, there's only so much blood you can  
17 squeeze from a rock at a certain point, when we  
18 get these things down so tight I think the future  
19 arc that I see for these Codes is really going to  
20 be on enforcement strategy and pragmatism and  
21 really making sure -- we have a significant issue  
22 with existing buildings being below Code, and  
23 that's obviously a top priority for the Governor.  
24 And so I think our team is really thinking about  
25 it a lot and in the right way, and I am eager to

1 help in any way I can support your efforts as we  
2 move forward in this.

3 CHAIRMAN WEISENMILLER: I would  
4 anticipate once we get to Zero Net Energy that  
5 subsequent Code cycles would focus much more on  
6 simplification. I mean, we obviously can't go  
7 much below Zero Net Energy, so that would be the  
8 next logical step.

9 So just to make sure everyone is clear  
10 process-wise, so we're at this point, it's about  
11 noon and we have about 30 more speakers on  
12 Nonres, so we're going to consider the adoption  
13 of the Residential Standards and then we're going  
14 to ask the people who want to speak on both to  
15 speak, and then we'll take a break. Okay, so do  
16 we have a motion?

17 COMMISSIONER MCALLISTER: I guess I just  
18 wanted to say one more thing, I mean, to provide  
19 the long term vision here. You know, this isn't  
20 just about the Energy Commission, this is about  
21 local building departments, it's about if we want  
22 to start thinking about what this looks like in  
23 the real world, well the folks that are going to  
24 actually apply and enforce are not necessarily at  
25 the state level, they're at the local level. So

1 that applies to new and existing. Certainly with  
2 existing, lots of other issues. And I think the  
3 Code applies to both, and so here we're talking  
4 about the Code, we tend to think about it as a  
5 new construction effort, you know, many of those  
6 in the room are trades working on new  
7 construction and other trade allies in that  
8 context. So I have to finish up by just giving a  
9 plug to the activities that we're doing under AB  
10 758 because those actually happen in a different  
11 part of the Division, it's a separate statute,  
12 not directly linked necessarily to the Code, per  
13 se, but since Code applies to existing buildings,  
14 another challenge we have, other than ZNE for new  
15 construction, is making the Code more relevant  
16 and applicable to existing buildings. And so in  
17 their kind of complexity and the cost structure  
18 of existing building upgrades, it isn't  
19 necessarily -- is even probably less of our  
20 friend than it is in new construction. So in  
21 terms of our long term vision, these are really  
22 two parallel tracks, one is how we get there with  
23 new construction, the other is how we really  
24 encourage and facilitate and verify upgrades to  
25 our existing building stock which, you know, is

1 Governor Brown's goal.

2           Number 3, which we lovingly refer to it  
3 as, it's of huge importance to the State to apply  
4 Code effectively to existing buildings. And  
5 again, all the stakeholders in the room, you  
6 know, any ideas you have on that and the right  
7 forum and 758 are in the IEPR where we're talking  
8 a lot about this, very very welcome.

9           So with that, so here I'm making a simple  
10 move, simple motion to move the -

11           CHAIRMAN WEISENMILLER: I've been  
12 advised, just to be safe, let's deal with both -  
13 we'll vote on both after we conclude the Nonres.  
14 But at this point we've wrapped up the  
15 conversation on the Res, and on the Nonres,  
16 again, we're obviously not going to get through  
17 the 30 cards, but I think it would make sense,  
18 though, for the three individuals who wanted to  
19 speak on both topics to give them the opportunity  
20 now to supplement their comments. So Bob Raymer,  
21 do you want to go first? This is on Nonres.

22           MR. RAYMER: Thank you, Mr. Chairman and  
23 Commissioners. Bob Raymer with the California  
24 Building Industry Association, and I would like  
25 to send apologies for Matthew Hargrove, he's over

1 at the Capitol attending a couple of hearings  
2 today. He represents the California Business  
3 Properties Association and the Building Owners  
4 and Managers Association. And he would just  
5 simply say that they're in support of the  
6 Standards, that they would like to thank staff as  
7 we named earlier today in the Residential  
8 portion, he would like to name the same people  
9 for appreciation, who did a yeoman's job.

10           Lastly, although I don't personally have  
11 that much familiarity with the Nonres Standards  
12 and the lighting measures, I have been told on  
13 numerous occasions that the provisions that were  
14 implemented as part of the 2013 Regs caught many  
15 of those in industry, in the commercial industry,  
16 off guard. And to be fair to CEC staff, the  
17 industry was coming off a very trying time  
18 economically speaking, and so their ability to  
19 participate and provide staff with the  
20 information that they needed going forward was  
21 somewhat difficult. And so there's probably  
22 issues on both sides of that where hopefully as  
23 we move forward there will be a lot more robust  
24 discussion on these things, but once again I'd  
25 just like to indicate on behalf of Matthew

1 Hargrove of CBPA that they support your Nonres  
2 adoption today. Thank you.

3 CHAIRMAN WEISENMILLER: Great. Thank  
4 you. Meg Waltner, please. Okay, she may have  
5 gone. Manual Alvarez.

6 MR. ALVAREZ: I'll be brief,  
7 Commissioners. Manual Alvarez, Southern  
8 California Edison. I'll just ask you to support.  
9 We support these Standards as you're having  
10 proposed, so we ask you to move forward. Thank  
11 you.

12 CHAIRMAN WEISENMILLER: Thank you. So  
13 we're going to take a break until 1:15, be back  
14 promptly and we will then turn to Nonresidential  
15 and then walk through the rest of the agenda. So  
16 thanks.

17 (Recess at 12:12 p.m.)

18 (Reconvene at 1:18 p.m.)

19 CHAIRMAN WEISENMILLER: Let's start with  
20 the first speaker, Scott Wetch.

21 MR. WETCH: Mr. Chairman and Members,  
22 thank you very much. Scott Wetch on behalf of  
23 the State Association of Electrical Workers and  
24 the California Coalition of Utility Employees.  
25 Some colleagues of mine that share a similar

1 position are going to get into more of the  
2 technical issues. We're here in opposition to  
3 the Nonresidential package principally on the new  
4 exemptions being included for advanced lighting  
5 control systems.

6 Staff earlier today represented to the  
7 Commission that those particular items were being  
8 specifically targeted to small business. Nothing  
9 could be further from the truth. The fact,  
10 unless it can be pointed out to me, is there's no  
11 restrictions on size on those two, the  
12 modification and alteration exemption for  
13 Advanced Lighting Controls. So those exemptions  
14 would be able to apply to buildings as large as  
15 you can imagine. That gives us and my members  
16 great great concern and pause.

17 In addition, Mr. Chairman, we have some  
18 deep-seated concerns about the process. There  
19 are items relative to those exemptions,  
20 specifically to alterations, as well as to some  
21 of the acceptance testing exemptions, they were  
22 added to the 15-day language that we do not  
23 believe rise to the level of issues that had been  
24 considered or even alluded to in the previous  
25 workshops and public processes. So there lies a

1 great concern. I think some of those issues  
2 could be resolved with a little more interaction  
3 and time between some of the stakeholders and  
4 staff, but because they were put into the 15-day  
5 language and we're now here on the precipice of  
6 adopting the entire package -- and  
7 parenthetically, my clients care deeply about  
8 Title 24, we have participated for decades, we  
9 want to see it updated, we want to see it updated  
10 expeditiously, and we would hate to see any  
11 delays occur because of a particular couple  
12 sections that we think have problems and  
13 difficulties. So we stand ready to meet with  
14 whatever action the Commission takes today to  
15 meet with the Commission and with staff before  
16 the package is presented to the Building  
17 Standards Commission to try to work through some  
18 of these issues. But I do need to just let the  
19 Commission know that my coalition for clients are  
20 going to take advantage of every opportunity and  
21 every venue to adamantly defend their position on  
22 this issue. It's that big of an issue for us and  
23 one that has wide sweeping implications, and so  
24 we would hope that the Commission would think  
25 deeply about those particular items and hopefully

1 engage with us going forward. Thank you.

2 CHAIRMAN WEISENMILLER: Thank you. Let's  
3 go to Mike Stone. How about Brett Barrow? Oh,  
4 okay.

5 MR. STONE: Thank you. Good afternoon,  
6 Commissioners. My name is Mike Stone. I am the  
7 Secretary of the International Association of  
8 Electrical Inspectors, Northern California  
9 Chapter. And I'll be speaking on behalf of the  
10 chapter. I'm also the West Coast field  
11 representative for NEMA, National Electrical  
12 Manufacturers Association, so I'll be making some  
13 comments on NEMA's behalf, as well. And this is  
14 on the same section the gentleman before me was  
15 speaking on, it's 141.0 regarding Existing  
16 Lighting Retrofits. I'm speaking in opposition  
17 to that section. Speaking for the IAEEI, I have  
18 25 years of electrical inspection experience with  
19 the Cities of Salinas, Monterey, and Watsonville.  
20 And I understand also the City of San Francisco  
21 submitted a letter for this section, and I  
22 submitted a letter on Monday, I don't know if you  
23 have it in your packet there, or not.

24 This would allow lighting controls to be  
25 eliminated on retrofit applications where the new

1    luminaires would meet at least 30 percent more  
2    efficient than the existing, and that would  
3    really be an impossible section for inspection  
4    authorities to enforce. There's on way to verify  
5    what the baseline of that existing is, so it  
6    would really be a useless figure. And the first  
7    inspection, when an Inspector goes out, all the  
8    demolition is complete and all the existing  
9    luminaires are gone, they're gone to the dump so  
10  there's no way to really verify that.

11            Advanced Lighting Controls are the key to  
12  reducing energy consumption in buildings,  
13  including existing buildings. And when  
14  alteration occurs, that's the best time to ensure  
15  that that energy efficiency infrastructure is  
16  installed and it's going to be there for the life  
17  of the building. So we're talking about existing  
18  buildings here, which is low hanging fruit for  
19  energy conservation.

20            And on the same section, speaking on  
21  NEMA's behalf, California really drives the  
22  Advanced Lighting Control market in the nation.  
23  We're at the forefront of that and this market,  
24  were it to somehow decline, the manufacturers  
25  would be likely to cut back on their R&D

1 development for the future. And as we were  
2 discussing this morning, we have this ZNE Goal  
3 for 2030 for Nonresidential, so we want to make  
4 sure we stay on top of the innovation as far as  
5 that goes. I believe that goes along with  
6 Commissioner McAllister's comments about the  
7 Codes driving technology, that's very important.

8           And NEMA pointed out there's also  
9 wireless control options if existing walls or the  
10 construction is hard to get to, there are  
11 wireless options that can be more cost-effective.

12           So in conclusion, I would respectfully  
13 urge the Commission to continue to promote energy  
14 conservation and not approve that proposed  
15 language.

16           CHAIRMAN WEISENMILLER: Okay, thank you.  
17 So Brett Barrow now.

18           MR. BARROW: Mr. Chairman and members, my  
19 name is Brett Barrow with the National Electrical  
20 Contractors Association. We are also here today  
21 in opposition of the Nonresidential package for  
22 the reasons stated by the previous two speakers.

23           I'd like to reinforce what they have said  
24 and not repeat what they have said, but we do  
25 believe these are substantial changes that have

1 shown up in somewhat the last minute in the 15-  
2 day language and we do not feel that those have  
3 been properly vetted for such a big issue as  
4 this.

5           We see these changes as resulting in a  
6 substantial loss in possible energy savings going  
7 forward and possibly making the 2013 Standards  
8 more stringent and applicable than possibly the  
9 2016 Standards. I think this runs a little  
10 contrary to the Governor's inaugural address when  
11 he said that he would like to see existing  
12 buildings reach double their energy efficiency in  
13 the next 15 years. Advanced Lighting Controls  
14 and certainly the Acceptance Testing that goes  
15 along to make sure those very properly are a  
16 large part of that, and we feel that the lighting  
17 controls could double energy efficiency over just  
18 replacing a luminary by itself. So with those  
19 comments, I'd just like to say that we are  
20 opposed at this time and appreciate you letting  
21 me take the time to make these comments. Thank  
22 you.

23           CHAIRMAN WEISENMILLER: Sure. Thank you.  
24 Valerie Winn.

25           MS. WINN: Good afternoon, Chair

1 Weisenmiller and Commissioners. Valerie Winn  
2 with Pacific Gas & Electric Company. And today  
3 I'm here to offer our support for adoption of  
4 both the Residential and Nonresidential Building  
5 Code Standards. And in offering our support, I  
6 really also wanted to thank the members of the  
7 Commission staff for all of the hard work they've  
8 done on this, and really recognize how they have  
9 balanced feedback from a number of different  
10 parties on these somewhat controversial issues.  
11 And I'll offer two examples of how they've done  
12 that.

13           The first, well, this morning there was  
14 some talk about the PV Compliance Credit. PG&E  
15 shares some of those concerns on energy  
16 efficiency being first in the loading order and  
17 we share some of those concerns about the  
18 inclusion of PV as a compliance measure; but in  
19 the effort to move things forward, we feel that  
20 there's an appropriate balance there and that,  
21 while there may be some energy savings that are  
22 not captured because PV is a compliance option,  
23 we don't feel that those lost savings are such a  
24 huge issue that can't be overcome, that the  
25 balance that's struck is a reasonable balance

1 there.

2 In the same way, as we talk about  
3 lighting alterations, the language that was  
4 originally proposed in this section in the 45-day  
5 language was actually language that would have  
6 resulted in increased energy savings over the  
7 existing Code. And so I think the balance that's  
8 been struck in the 15-day language would actually  
9 be what we would expect, and that there will be  
10 energy savings that result from the move in this  
11 direction.

12 So from that perspective, the balance  
13 that is struck, what do they say, good public  
14 policy makes everyone a little unhappy? We think  
15 that there's a fair balance here, and so as a  
16 result, you know, we feel that we want to support  
17 the adoption of these Standards as they've been  
18 proposed. And we look forward to working with  
19 staff on the 2019 Codes and Standards. Thank  
20 you.

21 CHAIRMAN WEISENMILLER: Okay, thank you.  
22 Tom Enslow.

23 MR. ENSLOW: Good afternoon,  
24 Commissioners. I'm Tom Enslow on behalf of the  
25 California IBEW and NECA Labor Management

1 Coalition. We oppose the adoption of the  
2 proposed amendments to Section 141 related to the  
3 Advanced Lighting Control requirements. In  
4 particular, we want to emphasize that, you know,  
5 this isn't a minor exemption, this is a big deal.  
6 Currently all lighting modifications and  
7 luminaire modifications and lighting alterations  
8 have to comply with Advanced Lighting Control  
9 requirements. PG&E's own study showed that these  
10 have been effective and have resulted in  
11 significant savings over 2013 and the 2013 Code.  
12 We're now looking to go backwards. This is the  
13 opposite of what the Governor is telling us to do  
14 with existing buildings. We're going backwards  
15 to just shallow retrofits, changeouts of lamps  
16 and non-advanced simple controls.

17           And this is going to result in less  
18 savings when you look at what's required under  
19 the 2013 Code and if someone complies with that,  
20 and someone complies with what's being proposed,  
21 there's going to be less energy savings, there's  
22 no question about that.

23           And the supplies to not just small  
24 buildings, there's no limit on how this applies.  
25 For example, for modifications they got rid of

1 all requirements for any daylighting on multi-  
2 lighting controls completely. You know, it's not  
3 limited to any particular project. For  
4 Alterations, they provided a pathway where you  
5 don't have to do most advanced controls if you do  
6 a change-out through a more efficient LED lamp.  
7 And again, there's no limitations on the number  
8 of alterations you can make. You can alter all  
9 the lamps in an entire 100-story building, you  
10 would still have this exemption. So this is not  
11 a small matter.

12           And there just hasn't been enough time,  
13 this hasn't been vetted through the normal  
14 process. These things weren't raised during the  
15 pre-rulemaking, there's never been any case  
16 support or published analysis to support the  
17 findings, or look at the energy losses, and most  
18 of these proposals, including the exemptions to  
19 lighting alterations were proposed for the first  
20 time in 15-day language a couple weeks ago, and  
21 so there hasn't been the vetting and there hasn't  
22 been the compliance with APA necessary,  
23 particularly with something that could move us  
24 back in the findings.

25           And just quickly, we had an engineering

1 forum take its own preliminary look at these  
2 findings and they found that there would be  
3 substantial losses and that the findings made by  
4 staff's preliminary analysis, which again hasn't  
5 been fully published, was based on really  
6 optimistic assumptions and didn't look at all  
7 potential energy losses, and even with those  
8 optimistic assumptions, they just found that this  
9 would just be about equivalent to the 2013 Codes.  
10 Well, if their optimistic assumptions are at all  
11 wrong, we're going to lose a lot of energy from  
12 this change. This needs to go through a true  
13 stakeholder review process. It's been pushed  
14 forward too fast and it's just not ready to go  
15 forward. We urge you to delete this from the  
16 package and keep the original 2013 Requirements.  
17 Thank you.

18 CHAIRMAN WEISENMILLER: Thank you. Frank  
19 Schetter from Schetter Electric. Not here, okay.  
20 Let's go on to Craig Ochoa, please. Sorry for  
21 your name pronunciation.

22 MR. OCHOA: Actually, you did better than  
23 most.

24 CHAIRMAN WEISENMILLER: Okay.

25 MR. OCHOA: My name is Craig Ochoa. I'm

1 here representing Morrow Meadows Corporation.  
2 We're electrical contractors and engineers, and  
3 we do thousands of lighting installations,  
4 lighting controls platforms annually throughout  
5 our great State of California. I'd like to thank  
6 the Commission for this opportunity to speak to a  
7 specific point. Other commenters have brought up  
8 these points, so I'm not going to go into them in  
9 laborious detail in order to save time. However,  
10 Morrow Meadows opposes the adoption of the  
11 proposed amendments to Section 141 and their  
12 pertinent subdivisions.

13           The proposed exemptions will result not  
14 just in a substantial loss of savings which is  
15 kind of difficult to quantify, it's a little  
16 slippery, but if we think about it in terms of  
17 halves, if we're leaving half of the energy  
18 savings on the table, meeting that with controls,  
19 we can double the savings. And we memorialize  
20 that over time, bearing in mind that most of our  
21 customers only retrofit every 15 years or so. So  
22 if we miss this opportunity now, we basically  
23 encased in Amethyst or stone, really, all of  
24 these deficits and savings we could have been  
25 having all along.

1           The rollback of retrofits standards is  
2 also, as others have spoken more eloquently than  
3 I, contrary to the spirit of the title we feel,  
4 we're big proponents of Title 24 and energy  
5 efficiency and the Governor's goals, the Governor  
6 was very clear about his efficiency goals, and  
7 this is going backward, and it's hard to see how  
8 it meets it.

9           The complaints that the standard has  
10 somehow reduced or would reduce retrofit demand  
11 we don't believe is accurate. We look at  
12 hundreds of sets of documents that include these  
13 controls and these measures all the time. Daily  
14 we have bids going out, jobs that we're working  
15 on, that all contain these solution sets that  
16 together support the statute and the efficiency  
17 that we're all looking for.

18           I'd like to close by thanking the  
19 Commission again and strongly urging rejection of  
20 this Statute as amended. Thank you very much.

21           CHAIRMAN WEISENMILLER: Great. Thank  
22 you. Gene Thomas.

23           MR. THOMAS: Gene Thomas, Ecology Action.  
24 We'd like just to start by saying we support the  
25 15-day language. It's somewhat reluctant

1 support, we and many fellow implementers would  
2 much rather see Version 9, as opposed to Version  
3 30X, but we think it does strike a balance and,  
4 most importantly, it will allow the industry to  
5 regain life and move forward and stop the job  
6 loss and lost energy savings that's happening  
7 right now.

8           But the main reason for my getting up is  
9 I wanted to address the comments, the flurry of  
10 form letters that the Commission received from  
11 Union Electricians and from Unions themselves  
12 opposing, and the reason for our concern is that  
13 a number of real key allegations that were sited  
14 in these letters are either misleading or  
15 factually incorrect. And I just wanted to  
16 address some of the most egregious ones of those.

17           So one allegation was the effects of the  
18 2013 Code on cost and on retrofit work is  
19 overstated based on anecdotal evidence. We've  
20 supplied the Commission with detailed, hard  
21 factual numbers and percentages from implementers  
22 that irrefutably document the effects that this  
23 has had on the retrofit industry. In contrast,  
24 the opposing letters provide little if any real  
25 documentary supporting evidence. One that just

1 came up several times today, lighting projects  
2 with controls save twice the energy of a retrofit  
3 without controls. That's highly misleading if  
4 not actually incorrect. We looked at a variety  
5 of common retrofits and could find no instance  
6 where the control savings equaled the pre/post  
7 fixture wattage savings, and we attached in our  
8 earlier comments to the Commission some evidence  
9 to that effect. Actual wattage savings from  
10 controls typically averages 15 to 25 percent.  
11 The only way you could get double the savings  
12 from controls is if you started with a retrofit  
13 that had very little savings. And those just  
14 don't get performed in the real world because the  
15 people that do them couldn't earn a living doing  
16 that.

17 Another allegation, the Acceptance  
18 Testing final report showed that occupancy  
19 sensors failed in two out of three tests. So  
20 Acceptance Testing for small projects is needed,  
21 or savings is jeopardized. That's misleading  
22 again; for occupancy sensors, the actual  
23 reference study examined only a single building  
24 and one test was performed one time for occupancy  
25 sensors. So a statistical sample size of one by

1 any rational criteria is an insufficient basis to  
2 draw reasonable conclusions from.

3 I do want to say that we don't question  
4 the need for Acceptance Testing for truly  
5 advanced controls like daylighting, demand  
6 response, maybe even dimming; but simply  
7 occupancy sensors, time clocks, photo cells, are  
8 not advanced controls and Acceptance Testing  
9 shouldn't be required for small projects  
10 affecting 20 luminaires or less. I'd also point  
11 out that the savings from occupancy sensors  
12 equals the savings from multi-level controls.

13 Let's see, another is that feedback --  
14 oh, yeah, most commenters, they said, are  
15 Lighting Technicians, not licensed to install  
16 controls, therefore they're motivated to not  
17 install projects that have controls. So we  
18 looked at all of our contractors that install  
19 under our programs, every one of them is a C10  
20 Electrician qualified to install controls. Then  
21 we looked at all of the contractors that were in  
22 favor of the proposed language, and all of them  
23 were C10 Electricians, so it's just a false  
24 allegation.

25 And feedback that NECA and IBEW are

1 getting from their contractors --

2 CHAIRMAN WEISENMILLER: Could you move to  
3 wrap it up?

4 MR. THOMAS: -- okay, just we would urge  
5 the Commission to adopt the proposed language, it  
6 strikes an adequate balance and will allow the  
7 industry to regain its feet. Thanks.

8 CHAIRMAN WEISENMILLER: Okay, thank you.  
9 Marc Muzzo.

10 MR. MUZZO: Good afternoon. My name is  
11 Marc Muzzo and I represent Collins Electrical  
12 which was found in 1928 and has five offices in  
13 the Central Valley. Collins is very active in  
14 the California lighting business, installing  
15 thousands of projects per year. Our company  
16 appreciates this chance to express our position  
17 today.

18 To be clear right away, we oppose  
19 amendments to Sections 141(B)(ii)(jj)(kk) and  
20 (ll). What is more important is why. From some  
21 of the letters posted on the CEC website, it  
22 appears that the proposed 2016 language is  
23 responding to assertions that the 2013 Code is  
24 somehow reducing lighting energy savings. As a  
25 contractor who is doing this work every day, we

1 are confident that this is not correct for a  
2 number of reasons, 1) the 2013 Code is actually  
3 driving down the cost of controls. The volume  
4 demand created by the California Title 24 market  
5 is driving lighting control innovation up and  
6 prices down; 2) multi-step and daylighting  
7 controls in the 2013 Code save approximately  
8 twice as much energy as efficient lamps and  
9 occupancy sensors alone. So 2013 Code jobs will  
10 save about two times the energy compared to  
11 what's proposed for '16, and they will continue  
12 to get that double-efficiency for 10 to 15 years;  
13 3) The 2013 Code was implemented, our company is  
14 doing more high efficiency retrofits than ever  
15 before. In talking to other contractors around  
16 the state, we know that we are not alone; 4) most  
17 convincing is the PG&E report which said that  
18 these savings data do not include any reductions,  
19 starting from the third quarter of 2015.  
20 Instead, it even shows obvious increase compared  
21 to the same period in 2013.

22 With all due respect to the Commission,  
23 we must tell you why the proposed amendments  
24 would be a serious setback to California energy  
25 policy. The biggest issue is the proposed option

1 of 30 percent more efficient lamps or luminaires  
2 without the need for multi-step or daylighting  
3 controls. What this would do is, first, take us  
4 backwards to primarily swapping out lamps and  
5 luminaires; that was fine for the '90s, but not  
6 for now. Second, it will send the wrong signal  
7 to lighting control manufacturers and stunt  
8 progress toward even better technology and lower  
9 cost devices. Third, it will cause property  
10 owners to perform shallow retrofits that will  
11 exist for 10 to 15 years. Fourth, it will create  
12 an unenforceable regulation that invites abuse  
13 based on the option to do half a job without  
14 advanced controls, which will cost less. That  
15 will put economic pressure on property owners and  
16 retrofiters to claim that the project meets the  
17 30 percent threshold. Who will be able to check  
18 the actual baseline? Building Inspectors inspect  
19 after installation, not before. Fifth, this  
20 means the state won't even save the calculated 30  
21 percent. Sixth, as a state we will fail to meet  
22 the Governor's energy goals and those of AB 32.  
23 I wish there was a more polite way to say that  
24 the proposed amendments would be a huge mistake  
25 for California. Clearly, these counterproductive

1 proposals haven't been given adequate in-depth  
2 consideration. It seems like the 15-day language  
3 was a rush job.

4 Collins Electrical strongly urges the  
5 Commission to do the right thing for our state  
6 and reject these proposals for the 2016 Code.  
7 Thank you.

8 CHAIRMAN WEISENMILLER: Okay, thank you.  
9 Bernie Kotlier, IEBW. Could you not be  
10 cumulative?

11 MR. KOTLIER: Hi.

12 CHAIRMAN WEISENMILLER: Hi.

13 MR. KOTLIER: good afternoon,  
14 Commissioners and staff. My name is Bernie  
15 Kotlier and I represent the IBEW and I also  
16 represent the National Electrical Contractors  
17 Association through the Labor Management  
18 Cooperation Committee.

19 Our members appreciate this forum and the  
20 opportunity to express our opposition to adoption  
21 of the proposed Lighting Efficiency Amendments to  
22 Section 141.0. I think you know the specifics,  
23 so... First, we'd like to talk about big screen  
24 TVs and laptop computers. And, no, I'm not  
25 confused about the Agenda item. The reason is

1 they have a lot to do with lighting controls.  
2 The burgeoning demand for both of those items, as  
3 examples, big screen TVs and laptop computers,  
4 has fueled great technological process and  
5 rapidly falling prices. Both product categories  
6 are much more efficient now than they were just a  
7 number of years ago.

8           The 2013 Code has put lighting controls  
9 on the same path to better, less expensive, and  
10 even more energy efficient devices. Thanks to  
11 this Energy Commission, and I want to  
12 congratulate all of you on the Commission for  
13 this, California is a world renowned leader in  
14 energy efficiency regulations and the big volume  
15 driver of energy efficiency advanced control  
16 devices.

17           Numerous lighting control companies are  
18 now investing heavily in advanced lighting  
19 control technology and gaining significant  
20 economies of scale. Unfortunately, the proposed  
21 2016 Amendments would pull the rug out from under  
22 this progress. If this proposal is adopted as  
23 is, that progress towards better and lower cost  
24 lighting controls that the state very much wants  
25 and needs for the future of energy efficiency and

1 to meet Zero Net Energy Goals, will be  
2 undermined. We can't underestimate the power of  
3 California's volume in this progress.

4           The second subject is one that has  
5 received very little attention. Automated Demand  
6 Response, or ADR. While Advanced Lighting  
7 Controls roughly double energy efficiency, they  
8 also enable facilities to participate in  
9 important utility ADR programs, which enable  
10 statewide load reduction to protect the grid.  
11 The 2016 lighting proposal with its 30 percent  
12 more efficient lamp, luminaire opt out amendments  
13 will knock out advanced ADR capable controls for  
14 much of the retrofit market. This will severely  
15 handicap utility efforts to expand this valuable  
16 program and will increase grid vulnerability.

17           Third point has received some attention,  
18 but maybe not enough. Apparently, some at the  
19 Energy Commission feel that somehow the 2013 Code  
20 is reducing energy efficiency. The Commission  
21 has put forth a proposal for retrofits that would  
22 sideline the most energy efficient lighting  
23 technology, advanced controls. There's also a  
24 feeling that lighting efficiency retrofit work  
25 has declined. Reality is quite a different

1 story. As I said earlier, I represent thousands  
2 of contractors and most of them are doing  
3 lighting efficiency work, a couple of them have  
4 made comments today. I've polled the contractors  
5 statewide and what they say is that they're doing  
6 much more lighting efficiency work, especially  
7 since the 2013 Code was implemented. But you  
8 don't have to believe us. Our poll results  
9 mirror PG&E's study finding which says, "These  
10 savings data do not indicate any reduction  
11 starting from the third quarter of 2015.  
12 Instead, it even shows obvious increase compared  
13 to the same period in 2013, therefore there is no  
14 negative impact by the 2013 Title 24 on  
15 Nonresidential Lighting Alteration Program  
16 savings." That's a direct quote from PG&E.

17 So in summary, I want to say that we have  
18 many many good reasons, and I think the  
19 Commission has many good reasons to oppose these  
20 amendments. They're not going to get us where  
21 the Governor and the Legislature want us to go in  
22 Energy Efficiency, they're a step backwards, and  
23 I urge the Commission to reject them. Thank you.

24 CHAIRMAN WEISENMILLER: Thank you. Rick  
25 Miller again, please.

1           MR. MILLER: Thank you. Rick Miller with  
2 RNM Engineering. I've submitted a -- I'm going  
3 to say boatload -- of comments to the Commission  
4 and a lot of them were editorial in nature,  
5 spelling corrections, punctuations corrections,  
6 capitalization, lack of footers, and I assume  
7 maybe those can be done, be picked up. But one  
8 item I'd like to add is to increase the scope of  
9 the Lighting Controls Acceptance Tester. There's  
10 one paragraph in the Code that relates to power  
11 adjustment factors, and there's no testing of it.  
12 I think there's a big omission there, so I would  
13 recommend that the Acceptance Tester include  
14 testing of the power adjustment factors.

15           CHAIRMAN WEISENMILLER: Thank you. I  
16 believe there's no one else in the room that has  
17 comments, so we're going to switch to the phone.  
18 Okay, so let's start out with - I'm not sure if  
19 she's still there -- Kathleen Bryan from the San  
20 Francisco Department of Environment and Energy.  
21 She's been disconnected. So let's go to  
22 Stanford, we have either Leslie Kramer or Bob  
23 Fritch. Please go forward.

24           MS. KRAMER: This is Leslie speaking, I'm  
25 not sure if Bob is still on the line, as well,

1 but Bob, if you're on the line, I'll go first and  
2 if you want to jump in afterwards, would that be  
3 acceptable? Okay.

4           So I'm representing Stanford University  
5 and we are calling in support of the proposed  
6 language, the 15-day language that's been  
7 presented. And I guess I bring the perspective  
8 of a building owner who is responsible for making  
9 decisions about investments in energy efficiency  
10 upgrades. And so our view is that so long as the  
11 State is relying on building owners to make the  
12 investments in energy efficiency lighting  
13 upgrades, the measures have to be practical and  
14 cost-effective to the owners, or they won't  
15 happen, and we would opt for the do nothing  
16 option, which is I don't think what the state is  
17 looking for.

18           In the case of new construction or major  
19 renovations, meeting Code is not really optional,  
20 but meeting with the Lighting Retrofit is  
21 optional, it's an optional investment. And what  
22 we believe is that the language in Title 24's  
23 2013 Code became very restrictive, and we found  
24 that to meet all of the controls requirements  
25 added an incremental cost in many situations that

1 didn't meet our payback, the overall cost would  
2 not meet our payback criteria for making the  
3 investment. And also, due to all the additional  
4 administrative steps that have to be undertaken,  
5 it actually truthfully stalled or halted a lot of  
6 our potential projects that we had planned this  
7 year, where we were going to be getting about  
8 400,000 kilowatt hours of savings that we kind of  
9 put on pause because of the complexity of  
10 complying with these requirements and the  
11 additional costs in complying with the program.

12           So there's two parts of this that make  
13 sense to me, the exceptions for group re-  
14 ballasting projects, that Stanford takes  
15 advantage of to save both energy and maintenance  
16 costs, and also I agree that if the reductions in  
17 wattage are greater than 30 percent, that gives  
18 us more flexibility. We can get a good under  
19 five-year payback and a reasonable amount of  
20 savings with that kind of reduction alone, and we  
21 will put in occupancy sensors in additional  
22 controls where it's cost-effective to us to do,  
23 which is what we always do, we do an analysis and  
24 if it's cost-effective to add controls to the  
25 project, we of course do. And I'm sure that's

1 the case for most owners, they'll keep pushing it  
2 as far as they can up to their payback cutoff.  
3 So I guess that's just trying to bring one  
4 owner's perspective as to why we are supporting  
5 this new language. I think what we're really  
6 concerned about is the optional retrofit  
7 projects, not the new construction or renovation  
8 or major alterations where it's not a choice,  
9 we're going to go forward anyway, but this is  
10 something where my building managers and zone  
11 engineers will just not do it if the cost gets  
12 too high relative to the payback. So I don't  
13 know if Bob Fritch is still on the line, if he  
14 wanted to add anything.

15 MR. FRITCH: I am and time is up, I see,  
16 but again Stanford University does support the  
17 15-day language for Nonresidential 141. I am  
18 responsible for the re-lamping and re-ballasting  
19 of the millions of square feet here on the  
20 University. As Leslie said, we have put all of  
21 our projects on hold resulting in a lot of lost  
22 energy, as well as increased maintenance. And  
23 also, as we looked at these control options, it  
24 did not fit into our payback model of five years,  
25 so we would not be able to move forward with

1 those projects and we would continue to work  
2 strictly on maintenance, again driving our  
3 maintenance cost up, as well as wasted energy.  
4 So thank you.

5 CHAIRMAN WEISENMILLER: Thank you.  
6 Actually, one more in the room. Tamara?

7 MS. RASBERRY: Thank you, Mr. Chair.  
8 Tamara Rasberry on behalf of San Diego Gas &  
9 Electric and the Southern California Gas Company.  
10 I just want to thank staff for the time that they  
11 committed to the Sempra Utility Companies as we  
12 worked to close the gap on the Title 24 Regs. I  
13 know we were in discussions, I think the first  
14 one was in August and the last one was just I  
15 think three weeks ago, last month. So I just  
16 want to thank the staff for the time and making  
17 themselves available for the transparency that  
18 we've seen, and we've come a long way. So thank  
19 you for that. I just wanted to make sure that's  
20 on the record.

21 CHAIRMAN WEISENMILLER: Well, thank you.  
22 Thanks for getting on the record. Association of  
23 Monterey Bay Governments, Elizabeth Russell

24 MS. RUSSELL: Good afternoon. Thank you  
25 for the opportunity to comment. The Association

1 of Monterey Bay Area Governments requests that  
2 the Commission adopt the proposed 15-day  
3 language. AMBAG Energy Watch is the Regional  
4 Energy Efficiency Program that has been  
5 comprehensively serving the businesses, school  
6 districts, special districts, residents, and the  
7 21 local governments since 2006.

8           Our region is rural and we serve small to  
9 medium hard to reach customers. The current  
10 Title 24 Part 6 Code has effectively stopped  
11 almost all interior Lighting Retrofits in our  
12 region. For small to medium nonresidential  
13 customers, the labor to install the wiring to add  
14 the controls, plus the controls, plus the permit  
15 fees, actually increased the project cost more  
16 than 200 percent. And I do have case data on  
17 these projects.

18           For a quick example, I'll refer to one of  
19 our small schools working with Prop. 39 funding.  
20 They could install energy efficiency lighting for  
21 \$41,000 and save 26,430 kilowatts. If they put  
22 the controls with their ceiling issues on that,  
23 it would cost them \$101,273 primarily for the  
24 labor related to the controls, and it would only  
25 save 27,841 KWH. It's an increase only of 1,411

1 KWH annually, with an increase in cost of  
2 \$60,000.

3           What is developing in our region is that  
4 customers are choosing to leave the old lighting  
5 in place and opting to install solar systems that  
6 will power this older lighting technology because  
7 this is their perceived best use of their  
8 resources. Of course, this does not adhere to  
9 the preferred loading order of the California  
10 Energy Commission. These customers have  
11 indicated to AMBAG Energy Watch staff that if the  
12 proposed 2016 15-day language is adopted, they  
13 will move forward with interior lighting  
14 efficiency retrofits because it would be an  
15 efficient use of their resources under the  
16 scenario. However, I believe it will effectively  
17 freeze lighting technology in the T8 generation  
18 in existing businesses in our region if we do not  
19 adopt the proposed 2016 15-day language. Thank  
20 you to all the staff and their work on this  
21 proposed 15-day language, thank you,  
22 Commissioners for your consideration. That  
23 concludes my comments on behalf of the AMBAG  
24 Energy Watch.

25           CHAIRMAN WEISENMILLER: Okay, thank you.

1 LADWP, David Jacot.

2 MR. JACOT: Hello, good afternoon,  
3 Chairman Weisenmiller and Commissioners. This is  
4 David Jacot, the Director of Efficiency Solutions  
5 for the Los Angeles Department of Water and  
6 Power, which I'll refer to as LADWP from here on.

7 First off, LADWP absolutely applauds the  
8 CEC Commissioners and staff for the tremendous  
9 amount of effort that's gone into preparing the  
10 Title 24 Standards language. We understand it's  
11 a year's long process, we've been involved  
12 throughout it at various points, and we fully  
13 respect and acknowledge the amount of work that  
14 goes into it. We do, however concerns  
15 specifically about Section 141 of the  
16 Nonresidential Standards have on Lighting Advance  
17 Controls.

18 The 2013 Building Standards that just  
19 went into effect last year for the first time  
20 included requirements upon retrofit for Advanced  
21 Lighting Controls when certain thresholds were  
22 met. These enhanced requirements were put in  
23 place to push the Lighting Retrofit industry  
24 towards deeper, more comprehensive energy  
25 efficiency savings, recognizing that new

1 construction opportunities are a miniscule  
2 portion of the overall lighting market. And  
3 LADWP did at that time and continues to strongly  
4 support this direction for California to have  
5 robust and mandatory advanced controls  
6 requirements on retrofit.

7           However, these requirements have had  
8 unintended effects on utility administered small  
9 business direct install programs in California  
10 which use ratepayer funds to provide audits,  
11 materials, labor and installation completely free  
12 of charge to eligible customers paid for 100  
13 percent by the utility ratepayers.

14           The Advanced Lighting Controls  
15 requirements introduced in those Standards could  
16 not a year ago, and still cannot currently be met  
17 in a cost-effective manner for utility ratepayers  
18 under this model. And this is an important  
19 point, that this cost-effectiveness standard for  
20 utility ratepayers to do this is different than a  
21 payback requirement on the part of a customer.  
22 Payback is payback, if a payback requirement is  
23 not being met the customer has the discretion to  
24 revise their payback criteria for a project. But  
25 because it's a different cost-effectiveness

1 metric for utility ratepayer customers given the  
2 rate of return they achieve off these projects,  
3 we have thus, and we hear anecdotally, but  
4 speaking only for LADWP, we have been truncating  
5 our small business direct install projects at a  
6 level below the threshold for triggering the  
7 Advanced Controls, which is an unintended effect,  
8 I don't think anybody, you know, we didn't  
9 foresee it and nobody wants it because what we're  
10 doing is leaving traditional retrofit savings  
11 opportunity on the table. Currently we're losing  
12 about 17 percent of the potential identified  
13 energy efficiency savings by not retrofitting all  
14 lamps necessarily on a customer site. But we're  
15 only going up to 30 KW customers in size, and  
16 it's traditional with utility programs in  
17 California generally for direct install to serve  
18 small businesses up to 100 KW or more, and those  
19 programs are most likely experiencing higher  
20 levels of savings losses.

21           We've been very proactively involved with  
22 staff and the various stakeholders, as well as  
23 the utilities that are involved in the Codes and  
24 Standards effort, and so stakeholders in the  
25 process have voiced concerns about the Advanced

1 Controls requirements and their effect on the  
2 larger Lighting Retrofit in California. We  
3 understand their concerns and agree that elements  
4 of the 2013 Standards pertaining to the Advanced  
5 Controls Requirements are ambiguous or unclear,  
6 and will most certainly benefit from  
7 clarification in what's ultimately adopted as the  
8 2016 language. To that end, we've been closely  
9 following the language development, participating  
10 in the discussions in both the 45-day and the 15-  
11 day language currently under consideration for  
12 adoption. But we've become increasingly  
13 concerned that the original --

14 CHAIRMAN WEISENMILLER: Could you wrap  
15 things up?

16 MR. JACOT: I'll wrap up very quickly.  
17 We are concerned that 15-day language as it  
18 currently sits has been rushed. I think the fact  
19 that we've seen 30 versions, we're on Version 30X  
20 of 15-day language, has really limited the  
21 opportunity for us to quantify the potential  
22 benefits or impacts, and we're hearing that  
23 discussion from the other speakers. So we are  
24 concerned that it could undermine Title 24's  
25 intent to transform the lighting industry and we

1 don't feel that it currently addresses the loss  
2 of energy savings that are being incurred by  
3 utility direct install programs, specifically  
4 ours. So we therefore respectfully request the  
5 Commission put off the adoption of Section 141 of  
6 the 2016 Standards, perhaps revert it to 45-day  
7 status so the stakeholders can have the  
8 opportunity to work through those issues in more  
9 detail that lead to a better solution. Thank  
10 you.

11 CHAIRMAN WEISENMILLER: Okay, thank you.  
12 Tanya Hernandez.

13 MS. HERNANDEZ: We don't have any  
14 comments at this time.

15 CHAIRMAN WEISENMILLER: Thank you.  
16 Michael from Lutron.

17 MR. JOUANA: Yeah. Hi, this is Michael  
18 Jouana with Lutron. We are the world leader in  
19 lighting controls. I thank you for the  
20 opportunity to speak. I actually wanted to speak  
21 about residential, but wasn't able to do so  
22 before, so this will be brief. But I urge the  
23 Commission to postpone the adoption of the Joint  
24 Appendices until we can resolve some key issues  
25 with JA 8.

1           The 15-day language out of the  
2 clarification to the scope to now include LED  
3 drivers, even if the driver is not integral to  
4 the lamp or lightbulb, this scope shift calls  
5 into question some technical issues that Smart  
6 LED drivers will not be able to comply with,  
7 namely the start time thresholds. This will  
8 eliminate key customer desired features for  
9 lighting such as fade-to-off.

10           The EPA's Energy Star lamp specification  
11 has recognized this issue and has made  
12 appropriate changes to the start time metric to  
13 allow for this advance technology. We strongly  
14 suggest that the standard harmonize with Energy  
15 Star start time threshold and the Commission  
16 publish an interpretation of the start time test  
17 method to allow for the use of Smart LED drivers  
18 and give customers the aesthetically pleasing  
19 lighting effects such as fade-to-off. Thus we  
20 strongly encourage the Commission hold off on  
21 adoption of JA 8 until this issue can be  
22 resolved. Please see our docketed comments on  
23 the 15-day language which provides more details.  
24 Thank you.

25           CHAIRMAN WEISENMILLER: Okay, thank you.

1 TRC Energy.

2 MR. MUTANSKY: Hi. Can you hear me?

3 CHAIRMAN WEISENMILLER: Yes.

4 MR. MCMAHON: Hi, it's Michael McMahon  
5 with TRC. We are the case authors on  
6 Nonresidential LPD that Mazi talked about earlier  
7 and we're just here to support Mazi's efforts.  
8 We have no comments at this time.

9 CHAIRMAN WEISENMILLER: Okay, great.  
10 Thanks. Matt Tracey.

11 MR. TRACY: -- Enlight, energy efficient  
12 lighting in Pleasanton. I wanted to comment in  
13 support of immediate adoption of the 15-day  
14 language for Nonresidential Lighting as it's  
15 written. As Leslie and Stanford said before, a  
16 key problem for the Energy Efficiency Retrofit  
17 Industry is that there's no reason for an  
18 existing building owner to do an energy savings  
19 project unless there's a clear economic incentive  
20 to do so. It isn't like new construction where  
21 if a building needs to be built and a couple  
22 extra dollars won't kill a project; if a Lighting  
23 Retrofit project is too expensive, it just won't  
24 happen, the building owner is going to go along  
25 with business as usual and the energy savings

1 won't be realized.

2           As a community, Lighting Retrofit  
3 contractors along with ESCOs, third party  
4 administrators working with lighting contractors,  
5 were easily meeting the 2013 Title 24  
6 requirements for lighting power density, for  
7 simple sensors. Where we run into a big problem  
8 is with the costs associated with meeting some of  
9 the multiple switching requirements in areas  
10 where there aren't existing multiple level  
11 switches, the cost of mandated sensors where it  
12 doesn't make financial sense, the cost of permit  
13 and Acceptance Testing requirements, and this is  
14 all especially when we're trying to build small  
15 or medium-sized projects.

16           I wanted to kind of go back to what some  
17 of the other people have said about Advanced  
18 Lighting Controls saving such large amounts of  
19 energy over just simple lighting controls. If  
20 Advanced Lighting Controls made large incremental  
21 increases in energy savings, they would be cost-  
22 effective. And we're just not seeing that.  
23 Cost-effectiveness is what drives our Lighting  
24 Retrofit industry.

25           Also, I've been watching and

1 participating in the modification of the language  
2 since early this year. Since the first time I  
3 saw the language, it's gotten tougher and tougher  
4 on the Lighting Retrofit community. If there  
5 were one-sided panel or if there were a lack of  
6 opportunity for input, we would still have the  
7 original language seen back at the beginning of  
8 the year because that was really in essence  
9 better for everybody in the Lighting Retrofit  
10 community.

11           We'd be happier with the old language,  
12 but we feel like the 15-day language as it's  
13 written, it addresses most of the barriers that  
14 we've seen in the 2013 language to our industry,  
15 it allows us to work within I think what is a  
16 unique environment for us of having to sell a  
17 project based almost solely on payback. I think  
18 if we get the proposed language, our industry,  
19 the Lighting Retrofit Industry, will be able to  
20 continue to profitably save energy in existing  
21 buildings. I'm in support of it. Thank you.

22           CHAIRMAN WEISENMILLER: Thank you. Brian  
23 Wilcox.

24           MR. WILCOX: Hello?

25           CHAIRMAN WEISENMILLER: Yes, go ahead.

1           MR. WILCOX: Great, thank you. My name  
2 is Brian Wilcox, I represent Feit Electric Co.,  
3 Inc., California. Since 1978, Feit Electric has  
4 been serving North America as a leader in  
5 lighting products. We understand the intent of  
6 the program is to drive efficiency and positive  
7 adoption while decreasing reliance on inefficient  
8 and short-life products. We have some concerns.

9           The program goal is to prepare and submit  
10 proposals that will result in cost-effective  
11 enhancements to energy efficiency in buildings.  
12 Feit Electric struggles to understand how, for  
13 example, only CCT and DUV CRI and start time  
14 enhance efficiency. In fact, increasing the CRI  
15 requirement only, namely the red content  
16 associated with the R-9 value, specifically  
17 decreases efficiency in direct opposition to the  
18 program goal.

19           Additionally, flicker as measured by this  
20 proposal excludes many existing and promising  
21 driver solutions that are AC in nature.

22           The proposal also likely excludes many  
23 other traditional driver solutions, at least  
24 without adding additional cost and compliance  
25 that compromise long term performance. This

1 proposal is not rooted in science, human impact,  
2 or customer acceptance. Excluding existing and  
3 viable topologies, again, specifically related to  
4 what may commonly be deemed AC driver options,  
5 addresses a problem that does not exist. In  
6 fact, adoption of AC-based solid state lighting  
7 solutions in both lamps and luminaires that do  
8 not meet the proposed standard is well  
9 established. This adoption has taken place  
10 without customer resistance, and without negative  
11 comments related to health, safety, visible or  
12 nonvisible flicker concerns.

13           Further, in addition to excluding cost-  
14 effective and viable driver solutions alone, the  
15 NEMA SSL7A proposal will have a similar impact on  
16 further excluding these same driver solutions and  
17 more that are still undefined. Feit Electric  
18 urges the Committee and participants to  
19 reevaluate the current JA 8 proposals and limit  
20 the adoption to those rooted in science and  
21 empirical data that are supported not by  
22 perceived potential impacts, rather to only those  
23 that support sustainable high-efficiency  
24 products. The market, along with guidance from  
25 this body will evaluate and decide the viability

1 of products and the need for high CRI, high R-9,  
2 DUV changes, flicker, and dimmer  
3 interoperability. To make measurable energy  
4 efficient impacts, the program could focus on  
5 increasing the high efficiency luminaire  
6 requirements to be high efficiency, above the  
7 current 45 lumens per watt benchmark. Thank you.

8 CHAIRMAN WEISENMILLER: Thank you. The  
9 spokesperson for Once Innovation?

10 MR. RAIT: Oh, as a quick point of  
11 clarification, that was a comment on JA 8, is a  
12 Residential comment.

13 CHAIRMAN WEISENMILLER: Yeah, we've had a  
14 couple on Residential, I'll cycle back to those,  
15 but --

16 MR. RAIT: Yeah, I'm just going to note  
17 them for the record.

18 CHAIRMAN WEISENMILLER: No, that's good.  
19 Okay, Once Innovation? Theron Makley maybe?

20 MR. MAKLEY: Yes, can you hear me?

21 CHAIRMAN WEISENMILLER: Yes.

22 MR. MAKLEY: I'm commenting on JA 8, as  
23 well. We didn't get an opportunity earlier to  
24 comment.

25 CHAIRMAN WEISENMILLER: Okay, well please

1 go ahead.

2 MR. MAKLEY: I speak on behalf of Once  
3 Innovation. We're a small company based out of  
4 Minnesota that sells LED lighting into the State  
5 of California. We also license our patented AC-  
6 based LED technology for both residential and  
7 commercial lighting in the State of California.

8 Our comments are a reference to  
9 specifically Joint Appendix 8 regarding the  
10 qualification of high efficacy LED light sources.  
11 Some of the new specifications claim to be  
12 protecting the quality of the light and hence  
13 consumer acceptance, but they've gone far beyond  
14 what a normal consumer would consider acceptable  
15 and are bordering on favoring high end and high  
16 cost lighting solutions and favoring a subset of  
17 suppliers. This subjects the consumer to added  
18 cost under the guise of higher efficacy.

19 Specifically, there are three areas we'd  
20 like to point out: 1) JA 8.4.4 Color  
21 Characteristics, we suggest that CCTs of 5,000  
22 and 5,500 be included so as to give the consumer  
23 a preference for a higher efficacy lamp and lamp  
24 colors that more closely resemble daylight.  
25 Consumers are more educated today about CCT and

1 can make this choice on their own without it  
2 being specified for them; 2) JA 8.4.4, Color  
3 Characteristics Section C. The additional  
4 requirement of 90 CRI will add unnecessary costs  
5 and actually reduce energy efficiency. 90 CRI  
6 products are more costly to provide and actually  
7 decrease efficiency of the LED. We suggest  
8 keeping the CRI at 80 and letting the consumer  
9 decide if he needs CRI of 90, especially for the  
10 applications at hand.

11 In addition, in that same section  
12 regarding the R-9 value greater than 50, this is  
13 another requirement that's gotten out of hand.  
14 An R-9 greater than zero or greater than 10 is  
15 more than sufficient; higher values could be  
16 specified and chosen by consumers, but should not  
17 be required by this specification.

18 And three, JA 8.4.6 Dimming Reduce  
19 Flickering Operation, the 200Hz operation  
20 requirement has no basis in science, nor in real  
21 life application and subjects a targeted supplier  
22 base, mainly direct AC drive suppliers like my  
23 company, to an unnecessary burden to reduce  
24 flicker or modulation in a region 100 to 200Hz  
25 where no known issues have been documented. We

1 believe this is based on an IAAA PAR 1789 group  
2 who was putting out specifications not fully  
3 released yet, and these changes were based on  
4 that document that's not fully released and  
5 hasn't seen public comment. We suggest this  
6 requirement be reduced to 100Hz to allow  
7 increased competition and lower pricing which  
8 will increase adoption and accelerate energy  
9 savings.

10           Also, that AC market we estimate exists  
11 about 20 percent of the offered product in the  
12 LED market right now, so you'd be holding out 20  
13 percent of that market. This could result in  
14 antitrust litigation. We suggest you consult  
15 with Energy Star and their previous experience in  
16 these areas. They've been through all these  
17 before.

18           To conclude, we strongly suggest the  
19 Board reconsider these sections and eliminate  
20 specifications that limit competition and subject  
21 consumers to premium prices for features that are  
22 unnecessary to achieve high efficiency acceptable  
23 quality levels. Thank you for your time.

24           CHAIRMAN WEISENMILLER: Thank you. You  
25 probably should do some research on State Action

1 Immunity Doctrine, but let's go on to Eliot  
2 Crowe. Then let's go to Jay Martin.

3 MR. MARTIN: Hello, I'm Jay Martin  
4 speaking for myself, not for a company or  
5 organization. I want to request two things.  
6 Based on my experience as a Project Manager and  
7 as a Technical Editor, first as Project Manager I  
8 want to request a change to a specific section  
9 about lighting controls, Section 130.1(C)(7),  
10 which is about areas where partial off occupant  
11 sensing controls are required, those areas are  
12 hotel corridors, parking garages, areas where  
13 lighting should be dimmed a bit before someone  
14 enters the area. It's an excellent requirement,  
15 however, people have understood the Code to mean  
16 that complete shutoff is never allowed in those  
17 areas, they can only dim. And I saw the  
18 interpretation and every summary of the 2013 Code  
19 when I was helping a parking garage and saw LED  
20 lighting. I was trying to follow an ASHRAE  
21 Standard, 90.1, which says the parking garages  
22 should have both partial off control and  
23 automatic shutoff. And this particular garage  
24 closed in the evening, it stayed closed over the  
25 weekend, and in this garage two hours of light on

1 weekday evenings would have been enough, but I  
2 followed the Code; now the lights are on all  
3 night, all week, and in a hotel the equivalent  
4 would be lights that are on when the hotel is  
5 closed during the off-season, that sort of thing.

6           So I request that a sentence be added to  
7 Section 130.1(C)(7) before the Code is final,  
8 saying that shutoff is not precluded. You could  
9 add a sentence like this: "During periods when a  
10 space is scheduled to be unoccupied, the occupant  
11 sensing controls may, while no occupant is  
12 sensed, turn the lighting fully off or reduce the  
13 lighting level to the minimum required by a  
14 health or life safety statute, ordinance, or  
15 regulation." Something like that, it could be  
16 simpler, it could just say, "Section 130.1(C)(7)  
17 does not require lighting while the building is  
18 unused."

19           I should add that in this instance in  
20 this garage, the cost of the project would have  
21 been unaffected by this change, it was only a  
22 question of the settings.

23           My second request, as a Technical Editor,  
24 is that in looking at the 15-day language as a  
25 document, I would request for the sake of your

1 editors and for everyone reading the Code that  
2 your editors get to make some more edits. I  
3 noticed a few things, for example, on some pages  
4 your editors deleted 2010 from the cross-  
5 reference to the California Mechanical Code. But  
6 in some places, it still refers specifically to  
7 2010 Code in the 15-day language. Also, Table  
8 100.0-A, Application of Standards, it needs a  
9 cross reference to Section 110.1 about Mandatory  
10 Requirements for Appliances. People read that  
11 table first, so that table needs to be careful  
12 and complete. So a couple of examples like  
13 those, to me it indicates the 15-day language  
14 could be improved by another edit before it is  
15 final. Thank you.

16 CHAIRMAN WEISENMILLER: Thank you. So  
17 Don Link.

18 MR. LINK: Yes, this is Don Link with  
19 Controlled Energy. I'm a Union Contractor in the  
20 Lighting Retrofit business and also Signatory  
21 with the IBEW. And I want to speak to some of  
22 the opposition that we've heard from NECA and  
23 IBEW, I work with both.

24 Their opposition to the changes is really  
25 an attempt to increase market share at the

1 expense of the Lighting Retrofit Industry. The  
2 IBEW, NECA, Labor Management Cooperation  
3 Committee sent out a solicitation letter to a  
4 number of contractors, I believe 50, and it  
5 stated (quote), "The CEC is trying to roll back  
6 the Standards which will return market share to  
7 our retrofitters and unskilled competitors."

8           The CEC should reject the IBEW and NECA  
9 efforts to block the 15-day language because that  
10 would effectively eliminate energy conservation  
11 projects for the small and medium business sector  
12 in the state. Union Electrical Contractors do  
13 not do that type of work. I know that first  
14 hand. And in fact, they do very little lighting  
15 retrofit work at all. When my local IBEW Union  
16 Hall wanted an energy upgrade for their lighting,  
17 my compact was asked to do the work, controls and  
18 all. The fact that the locals did not call on  
19 one of its own inside wireman contractors to do  
20 this work is telling. Those contractors are not  
21 trained or expert in the energy efficiency field;  
22 mine is.

23           We've put in thousands of occupancy  
24 sensors, photo controls, and Smart switching  
25 devices. The retrofits we have performed over

1 the last 30 years have been comprehensive and  
2 state-of-the-art. Ask my Local Union Hall about  
3 the retrofit we did there.

4 Restoring 2013 Title 24 Standards will  
5 strand a major sector of the marketplace, the  
6 small and medium-sized businesses in the state.  
7 NECA contractors do not serve that market in  
8 energy efficiency; Lighting Retrofit contractors  
9 do. This sector has largely been unserved since  
10 the 2013 Standards took effect in mid-2014. I  
11 know, I'm a contractor that deals with that  
12 sector, and 80 percent of my workforce has been  
13 laid off because there has been basically no work  
14 in that field. I strongly urge the CEC to  
15 approve the 15-day language. It doesn't go far  
16 enough, but it will help revive energy efficiency  
17 for this sector. Thank you.

18 CHAIRMAN WEISENMILLER: Thank you. Do we  
19 have anyone else on the line? Okay, so at this  
20 point we're going to transition first to the  
21 staff, we had some comments, technical in nature,  
22 on the Residential, three commenters. Do you  
23 want to respond to those?

24 MR. SHIRAKH: Yeah. We will. I think  
25 Peter is going to respond to these questions and

1 then I have one comment.

2 MR. STRAIT: Sure. I'd like to first  
3 respond to the comment raised by Lutron regarding  
4 start time. We are working on what we can do in  
5 this area that would not require a Code change.  
6 We have some ideas we're discussing internally.  
7 We do want to be able to align with the Energy  
8 Star and believe in the one second start time.  
9 And we think we have some ways to get there that  
10 would not require changing the Code that's been  
11 proposed in front of you. I can go into greater  
12 detail if the Commissioners want me to.

13 Regarding the suggestions for JA 8, there  
14 was a suggestion to increase the lumen per watt  
15 requirement for lighting. The 45 lumen per watt  
16 requirement actually comes from Federal law that  
17 is a "Universal Lamp Standard" that will be going  
18 into effect in 2020 nationwide, and in 2018 here  
19 in California. In order to keep the playing  
20 field level and fair for all folks that are  
21 participating in lighting manufacture and sales,  
22 we are applying that standard to all lighting,  
23 instead of trying to carve up a standard for  
24 preempted lighting that would be that 45 lumens  
25 per watt and a higher standard for other

1 lighting, and trying to police where the dividing  
2 line would be between a preempted product and a  
3 non-preempted product.

4           Regarding 90 CRI, the current 2013  
5 Regulations actually already establish a 90 CRI  
6 requirement, so we did not choose to revisit that  
7 in this rulemaking.

8           The R-9 value that we have added to that  
9 requirement is there to prevent gaming and close  
10 a hole where a person could have a lamp that  
11 meets the CRI requirement, but actually does not  
12 emit any red light at all.

13           In the reason established at 50, there  
14 was a number of reasons behind that, but  
15 primarily that's about the lowest value we would  
16 anticipate for something that was considered  
17 among all of the other swatches that go into  
18 making up a CRI requirement. To explain, CRI is  
19 a measurement that is an average of numbers taken  
20 from several different color swatches that are  
21 ranked from zero to 100, based on how much of  
22 that color is being emitted and reflected. Given  
23 that it's an average, you could see how you might  
24 have a 70 for one value, but 100 in three of  
25 them, averaging out to somewhere in the 80's or

1 90's range. Therefore, an R-9 all the way to  
2 zero compared to these other swatches would be  
3 very unlikely. You would have to have 100 on  
4 literally every other swatch in order to hit a  
5 zero or a 10. So a 50 is what we would say is  
6 the low end of what would be expectable if it was  
7 included in that averaging.

8           Regarding flicker, the Energy Commission  
9 is establishing a flicker test. We are looking  
10 at what specific values would be necessary and  
11 what guidance we can provide in order to meet  
12 that test. One thing that I would put out is  
13 that, in terms of human perceptibility, the  
14 physical barrier between what someone can  
15 perceive is above 120Hz. There are some products  
16 on the market, in fact, that are designed to  
17 operate at 140 to 150Hz in order to provide a  
18 benefit to consumers, and some consumers do  
19 prefer those products.

20           You know, we feel we've arrived at a good  
21 place here. The main thing that our flicker test  
22 does is it closes some of the potential for  
23 gaming of some of the simpler tests that are out  
24 there in the marketplace to provide a rigorous  
25 demonstration that there will not be flicker that

1 will be perceivable or bothersome to an occupant.  
2 And this is not solely based on whether or not  
3 there would be a negative health effect, this is  
4 also based on whether the person would simply  
5 find that light suitable; to the extent that a  
6 light might be flickering and they don't like  
7 that flicker, they would replace it with a less  
8 efficient technology that doesn't flicker. And  
9 that's part of our concern.

10           Regarding the lighting controls, to  
11 switch to the comment that was received on the  
12 parking garages and being left on due to the  
13 language that we have in Section 130, I would  
14 have liked to have asked the person, we do have  
15 manual controls that are typically required, and  
16 whether they could have manually shut the  
17 lighting off, rather than leave it on an  
18 automatic control to turn that lighting off for  
19 those periods when the building was known to be  
20 not in use. But we can consider possibly through  
21 guidance materials some clarification as to what  
22 the Regulations expect the behavior of those  
23 controls to be.

24           CHAIRMAN WEISENMILLER: Okay, thank you.  
25 So let's transition now to the Commissioners.

1                   COMMISSIONER MCALLISTER:   Okay, well,  
2 thanks.  Thanks a lot.  Thanks for the responses,  
3 Peter, and I want to thank everybody both here in  
4 the room and on the phone for your comments.

5                   I think it's clear -- I'm sorry, did you  
6 want --

7                   MR. PENNINGTON:  Yeah, I'm curious, so we  
8 responded to the JA 8 comments only, we did not  
9 respond to all of the comments related to  
10 lighting alterations, and so I don't know if  
11 you're going to a Commission discussion of  
12 lighting alterations and JA 8?  It seems like we  
13 should respond to the lighting alterations.

14                   COMMISSIONER MCALLISTER:  I guess I was  
15 going to sort of set that up.  Yeah, thanks,  
16 Bill.  That's a good reminder.

17                   So I think we do need to talk about sort  
18 of what is the fact pattern on Nonresidential  
19 Lighting Alterations.  It really seems that there  
20 are two categories, in general, of things that  
21 have been brought up today, one is a variety of  
22 substantive issues that kind of boil down to what  
23 the realities of the marketplace are, and there  
24 seem to be -- we've had a lot of back and forth  
25 about this from the first moment the 45-day

1 language hit the street, all the way 'til today,  
2 right now, and it seems there are about as many  
3 opinions as there are stakeholders. I would  
4 really like to base all our decisions on the  
5 facts of the matter, and I want to thank those  
6 stakeholders who have really brought market  
7 information, project cost and penetration  
8 information, that sort of thing, to this  
9 discussion.

10 Well, the other category has to do with  
11 process. And so I think we should talk about  
12 both of those things, but I want to give staff  
13 the opportunity to talk about the alterations and  
14 substance, to work through those issues first,  
15 and then we can talk about process perhaps.

16 MR. SHIRAKH: Shall I proceed?

17 COMMISSIONER MCALLISTER: Yeah, go ahead  
18 Mazi. Thanks very much.

19 MR. SHIRAKH: Thank you. So we've heard  
20 both sides of the argument here and so the  
21 question basically boils down to whether the  
22 proposed 2016 Code language will meet the energy  
23 parity with 2013 and beyond, as staff thinks we  
24 do. So I thought I'd start by actually  
25 describing what the language does because I've

1 heard several versions of this language that was  
2 unfamiliar to me. So to set the record straight,  
3 let's just look at one example here, there are  
4 several pages here, but we don't need to go  
5 through all of them, but I think the one example  
6 will suffice.

7 Under Entire Luminaire Alterations, there  
8 are two choices: under (I) is basically the 2013  
9 Standards requirement, is for alterations that  
10 either adds a luminaire or removes or reinstalls  
11 a luminaire, or reflects luminaires, and more  
12 importantly under (C), adding, removing and  
13 replacing walls or ceilings, so this would be  
14 major gut rehab, tenant improvement-type  
15 projects. They are required to meet the lighting  
16 power densities, 146, and all the control  
17 requirements which includes daylighting and  
18 multi-level controls and everything. So again,  
19 if you're in a gut rehab and major tenant  
20 improvements, you have to meet all these  
21 requirements as it was under 2013 Standards.

22 Under double ii, this is what was being  
23 referred to several times today as an exception  
24 or an exemption, it's really not an exemption,  
25 it's an alternative path to compliance. For some

1 of these projects they're replacing new  
2 luminaires. We have provided relief from several  
3 lighting control requirements which has been  
4 noted, which will be daylighting and multi-level  
5 controls in exchange for luminaires that reduce  
6 the luminaire power by 30 percent.

7           Several times it was mentioned that, you  
8 know, when people take this off ramp there are no  
9 control requirements, that is not factually true,  
10 there are all these control requirements here,  
11 the automatic shutoff controls, it includes  
12 occupant sensors, and many other types, even for  
13 parking garages it requires multi-level controls.

14           So the question basically comes down to  
15 does reducing the power by 30 percent save enough  
16 energy to achieve parity with 2013 by basically  
17 displacing some of the perceived energy losses  
18 from daylighting controls or multi-level  
19 controls? What is interesting about multi-level  
20 controls is that, even though they're nice, they  
21 work really good for new construction and  
22 daylighting and other applications, in most  
23 retrofit applications the same amount of energy  
24 savings can be achieved with just a regular  
25 on/off occupant sensor.

1           So the savings are going to be there, it  
2 may not be as aesthetically pleasing and all, but  
3 you could even argue that an on/off occupant  
4 sensor could save more energy than a partial off  
5 occupant sensor.

6           Related to daylighting, recall that most  
7 of the buildings that are going through these  
8 lighting retrofit alterations, they're 10 to 15  
9 years old, and there's probably limited  
10 daylighting opportunities in them anyways,  
11 because for daylighting to work, you already have  
12 to have either top lighting, skylighting, or side  
13 lighting, it's generally not cost-effective to  
14 adding new daylighting sources. And if those are  
15 not there, it's generally not cost-effective.

16           Where daylighting is most cost-effective  
17 are probably in office occupancies and places  
18 like airport concourses, and so forth where there  
19 is plenty of opportunity for daylighting. In  
20 many others like retail, there's probably  
21 generally limited daylighting opportunities in  
22 existing buildings including retail. So again,  
23 does 30 percent save enough energy to achieve  
24 parity and does it save enough energy to displace  
25 some of these lighting losses from advanced

1 controls?

2 MR. BREHLER: And, Mazi, this is Pippin  
3 Brehler again from the Chief Counsel's Office.  
4 For the folks in the room and the record, what  
5 you were just showing was a clean version of the  
6 15-day language in Section 141.0(E)(2)(i).  
7 Correct?

8 MR. SHIRAKH: Correct.

9 CHAIRMAN WEISENMILLER: Thanks.

10 MR. SHIRAKH: I'm trying to open this  
11 document and nothing is happening. There. So in  
12 an attempt to show whether the 30 percent  
13 actually saves enough energy to achieve parity,  
14 what we did was we went back, it's one of the  
15 advantages of being around for so long is that  
16 you actually remember all the revisions to the  
17 Standards from way back. So starting with 2001  
18 -- and before 2001, we actually have the 1998  
19 Standards, and the Lighting Standards between '98  
20 and 2001 didn't change, so I didn't include it.  
21 So what we have here under each cycle of  
22 Standards, the LPDs that were assigned to the  
23 functioning areas that you see on the left  
24 column. So these are the LPDs and --

25 COMMISSIONER MCALLISTER: LPD is Lighting

1 Power Densities.

2 MR. SHIRAKH: Lighting Power Densities,  
3 sorry. And so the LPDs were extracted from those  
4 Standards, they're listed in these columns, and  
5 what you see below is the average of LPDs for all  
6 these function areas, and then what the  
7 percentages here show is that for the average of  
8 all these lighting power densities in 2001, it  
9 was about 20 percent higher than 2016. So these  
10 go back compared to the 2016.

11 And then note what happens from 2001 to  
12 2005, a huge drop. We did a major lighting  
13 improvement in the 2005 Standards. So whereas  
14 2016 is about 20 percent better than 2001, it's  
15 only 10 percent better than 2005. And from  
16 there, there's been incremental changes ever  
17 since. So one way of looking at this would be to  
18 say, well, even looking at the comments from both  
19 the Acceptance Testers and the Retrofitters, the  
20 average life of the lighting system that gets  
21 subjected to retrofits is about 10 to 15 years.  
22 So it puts us someplace in between 2005 and 2001  
23 Standards, assuming that the Standards will go  
24 into effect in 2017, then the 2005 Standards will  
25 be about 12-years-old, so you know, we're looking

1 at that.

2 So even if all the lights were built  
3 under 2001, it's only 20 percent better than the  
4 2016 LPDs. Our language allows a second option  
5 that says the lighting reduction should be 30  
6 percent, so that's already 10 percent better than  
7 this. So that's where the savings are coming in.

8 Now, one would say that, you know, this  
9 right here is just an arithmetic average of all  
10 the LPDs, they're not corrected by the square  
11 footage, which is probably true, you know, we  
12 treat warehouses and offices under this approach  
13 the same as restrooms and corridors. So what we  
14 did was we went back and looked at our impact  
15 analysis and the various square footages assigned  
16 to these function areas, and we corrected them.  
17 And the ones you see in red are the function  
18 areas, the measured function areas that we had  
19 data for, and the rest of them were all captured  
20 under miscellaneous. So we equally divided like  
21 1.5 percent of the rest of them.

22 And then we ran the weighted calculation  
23 which is represented in this table here, and what  
24 you see in this column here is basically the  
25 weighted average LPD for each cycle. Once you do

1 the weighted average, you know, you see the  
2 numbers kind of moved somewhat, so this 19  
3 percent becomes 27 percent. So what this means  
4 is that under the '21 Standards, under this  
5 weighted average approach, the LPDs of 2016 are  
6 about 27 percent better than 2001. And then  
7 subsequently that number drops to 17 percent and  
8 11 percent and three percent as we move that  
9 closer to the present time.

10           So again, looking at 2005 and 2001,  
11 that's where most of the lighting retrofits would  
12 be. Once we average those two, the savings would  
13 be about 22 percent for the average of these two  
14 cycles. Our 30 percent power reduction is  
15 actually at 36 percent better, lower LPDs even  
16 comparing it with 2001 and 2005.

17           What's interesting to note here is, as we  
18 move into the cycle, the first year and the  
19 second year, the window starts shifting towards  
20 the right of this column, so this number gets  
21 larger, like in a few years when the 15-year  
22 window covers the entirely 2005 and beyond, the  
23 savings reduction go up significantly to 88  
24 percent. And then they will approach 90 and 100  
25 percent as we get closer to the present time.

1           So the bottom line is that the 30 percent  
2 savings reductions will save energy. They save  
3 energy more than the LPDs in almost all cases,  
4 and the savings are significant enough to more  
5 than compensate for the loss of some of the  
6 lighting controls that are proposed.

7           The language that we have proposed in my  
8 opinion strikes the correct balance between LPDs  
9 and controls, it does provide relief from some  
10 Advanced Lighting Controls. One of the things  
11 that I probably need to note here is this  
12 Exception 4, Acceptance Testing Requirements of  
13 Section 134 are not required for alterations or  
14 lighting controls, are added to 20 or fewer  
15 luminaires. This was mentioned several times in  
16 both Tom Enslow's letter and some of the  
17 testimony today. This is a very small project.  
18 In this room we have more than 20 luminaires, and  
19 if you have an automatic shutoff control in the  
20 closet here, that we do, that basically is going  
21 to exceed this requirement. So the rest of the  
22 Acceptance Testing will kick in. So this is  
23 truly a small number.

24           Each luminaire covers roughly about 100  
25 square feet, so 20 luminaires is about a 2,000

1 square foot space, the size of a typical home.

2 So it is an exception for very small projects.

3           And the other thing that was mentioned  
4 several times was the PG&E study and tool that  
5 pointed out the deficiencies of the 45-day  
6 language, it is correct, that there was a big  
7 deficiency as a result of the 45-day language,  
8 both PG&E and Tom Enslow's group correctly  
9 pointed out to us those deficiencies, that about  
10 250 gigawatt hours hole would be created had we  
11 gone with Version 9 of the Standards.

12           So that very same tool was used by the  
13 same people who developed them. As we moved more  
14 and more towards controls, you know, we kept  
15 updating the tool with the new information  
16 related to energy savings and controls. So the  
17 same tool that pointed out these deficiencies is  
18 also the same one that's now pointing out that  
19 not only have we reached parity, we've actually  
20 exceeded it by 38 gigawatt hours per year. If  
21 there are any questions about the details of that  
22 tool, I have it here on this computer and there  
23 are contractors here to provide any additional  
24 support or answer any questions. So with that, I  
25 can take any questions.

1           COMMISSIONER MCALLISTER: Thanks a lot,  
2 Mazi. I guess that tool has been docketed and is  
3 available, is that correct?

4           MR. SHIRAKH: The tool has been docketed  
5 and it has actually been shared with Tom Enslow's  
6 group, they asked some questions, we provided  
7 some clarifications. And all of these documents  
8 are in the docket.

9           COMMISSIONER MCALLISTER: Okay, great. So  
10 I'm going to just move forward with some brief  
11 comments and, Peter, did you want to say  
12 something very brief?

13          MR. STRAIT: Actually I just had two  
14 things I wanted to add to Mazi's discussion.

15          COMMISSIONER MCALLISTER: Quickly.

16          MR. STRAIT: Very quickly. First, the  
17 Governor does, we are absolutely sensitive to the  
18 Governor's direction. The Governor has directed  
19 all State agencies to be sensitive to the needs  
20 of small business and this was started by  
21 contacts by small businesses to us, that's one of  
22 the things that got this ball rolling. These  
23 changes do follow the pattern established in the  
24 2013 Regs where explicitly that allows for  
25 reducing the requirements for daylighting and

1 multi-level controls when more efficient lighting  
2 is installed, so this is falling in the same line  
3 with that.

4           Third, I just want to acknowledge a  
5 technical aspect. There is ultimately an  
6 antagonistic relationship between savings of high  
7 efficiency lighting and the controls for that  
8 lighting in that. If you have a 100 watt  
9 incandescent lightbulb and you knock that down to  
10 70 percent of its power, or automatically shut it  
11 off, you're saving 30 to 100 watts. But when you  
12 replace that with an 18 watt LED, then putting at  
13 a partial on state where it's only bringing 12  
14 watts, you're saving much less energy and that's  
15 where some of the cost-effectiveness discussions  
16 are taking place. So fundamentally when you  
17 solve extremely efficient lighting, that's where  
18 we have to be very sensitive about whether  
19 controls also pay for themselves when you've got  
20 that high efficiency lighting paired with them.

21           COMMISSIONER MCALLISTER: Okay, thanks.

22           MR. SHIRAKH: If I may add one more  
23 point, the savings that we're projecting is based  
24 on first year savings. As we move in the future,  
25 these 30 percent savings becomes much more

1 significant.

2 COMMISSIONER MCALLISTER: Right, so --

3 MR. SHIRAKH: So the LPDs don't save much  
4 after that.

5 COMMISSIONER MCALLISTER: So I think  
6 everybody here who is in attendance and who reads  
7 this later is going to be, I think, very clear  
8 that the Commission has had a huge amount of  
9 interaction on this over quite a sustained period  
10 with a wide wide variety of stakeholders, and I  
11 think as we've just heard, the variety of  
12 comments show that kind of where you stand on  
13 this issue has a lot to do with where you sit in  
14 the marketplace. And there's been a lot of  
15 technical backup on this and I'm confident that  
16 staff has followed quite a robust process to get  
17 to this point.

18 You know, I think we heard over and over  
19 again, ever since 2013 was put to bed, that it  
20 was confusing people and it had some issues, and  
21 originally the idea here was just to kind of  
22 clean it up and get clarified, right? As we did  
23 that, I think the staff ended up kind of thinking  
24 rigorously about paying attention to the  
25 marketplace, thinking rigorously about each

1 detail as the language was tightened up, and that  
2 ended up bleeding over into some substantive  
3 conversations about, okay, well, what is the best  
4 option for the 2016 Code. We had a couple  
5 workshops about this, one in particular just lots  
6 and lots of detail with very much engagement from  
7 a wide variety of stakeholders and post that  
8 workshop, some of them brought actual market data  
9 to us and that is vital, I think, for this  
10 process. Costs of projects, size of projects,  
11 types of pressure that actual building owners are  
12 under, what the criteria for adoption actually  
13 is. So understanding that we need to respect  
14 sort of the private sector situation and the  
15 retrofit market, generally, it's clearly very  
16 fragmented, a lot of different kinds of projects,  
17 we wanted to make sure that sort of the level of  
18 requirements on a given project was commensurate  
19 with what's doable in the marketplace as it is,  
20 even if we push it a little bit.

21           So we went through quite a process here.  
22 And my direction has been to move forward on a  
23 path to absolutely meet the State's goals, be  
24 aggressive about the Governor's goals on energy  
25 efficiency, and get to an end point that does all

1 those things. You know, what are the impediments  
2 in the marketplace, you know, permitting a  
3 project and executing it to Code, trying to  
4 thread that needle to make sure that projects  
5 aren't driven underground or don't happen  
6 altogether. We hear over and over again that  
7 that happens, and we heard it some today, as  
8 well. So you don't get any energy savings at all  
9 if you don't do a project. And so enabling Code  
10 to work with the marketplace is critical.

11           Okay, so having said all that, I think I  
12 don't actually want to talk further about the  
13 substance of the Regs as proposed today, I really  
14 want to talk about process. So I think one thing  
15 we've heard and probably the most concerning  
16 thing to me is that there are stakeholders who  
17 don't feel that the process met their needs, and  
18 that would be a reason to convene further  
19 discussions about this particular part of the  
20 Code. And I wanted to have a conversation  
21 perhaps at the dais or talk to staff about what  
22 that might look like, ask Pippin or Courtney what  
23 the options there might be.

24           MR. BREHLER: Certainly, Commissioner.  
25 This is Pippin Brehler in the Chief Counsel's

1 Office. If I can glean your meaning, what you're  
2 wondering is whether these lighting retrofit  
3 provisions could undergo some further process,  
4 and if that's the case, then the answer is yes,  
5 that the balance of the Standards could be  
6 considered for adoption today, and these  
7 provisions could be held for further public  
8 comment, further consideration within this  
9 rulemaking, within the ambit of the Notice of  
10 Proposed Action that was issued earlier. The  
11 only challenge would be ensuring that anything  
12 that is considered is wrapped up within the year  
13 of the notice and also gets to the Building  
14 Standards Commission in time for incorporation  
15 into the next cycle of the Building Code --

16 COMMISSIONER MCALLISTER: Okay, so this  
17 would not need a new rulemaking, it could be  
18 within the existing rulemaking, and sort of when  
19 would the process need to be wrapped up and  
20 folded back in to be submitted to the Building  
21 Standards?

22 MR. BREHLER: The Building Standards  
23 Commission has told us that they would like our  
24 rulemaking package by around the beginning of  
25 October to give them time to review it and put it

1 on the agenda, to have the month of October to  
2 review it, and have it available at the beginning  
3 of November to put on one of their Business  
4 Meetings. And they're anticipating approving the  
5 entire Building Code in the December/January  
6 timeframe.

7           COMMISSIONER MCALLISTER: Okay, great. So  
8 thanks. I think that kind of lays out the real  
9 issue here, which is, you know, while certainly  
10 on substance, I think we could talk some details  
11 and I personally feel that we're in a good place  
12 and there's quite a bit of backup to where we  
13 ended up. If the process sort of hasn't allowed  
14 everyone to feel comfortable with that, or at  
15 least to have their say in the meantime, I think  
16 we need to try to remedy that.

17           CHAIRMAN WEISENMILLER: Yeah, I think  
18 staff has certainly had a good opportunity to lay  
19 out their work on this and it makes a lot of  
20 sense. Obviously at this point, given the time,  
21 I typically would ask other parties to then  
22 respond; but I think given the nature of where we  
23 are procedurally, it makes sense to move forward  
24 on adopting the Building Standards, except for  
25 this piece, to hold this piece, certainly

1 encourage more communication and making sure that  
2 we nail things down.

3 COMMISSIONER MCALLISTER: And I guess one  
4 more question for Pippin. I would assume you  
5 would recommend sort of a fixed comment period by  
6 which this additional conversation was closed  
7 out, you know, whether it's 15, 30 days, or  
8 whatever.

9 MR. BREHLER: That's right. Yeah,  
10 certainly it would still be subject to the  
11 comment period requirements of the Administrative  
12 Procedure Act and the Building Standards Law and  
13 perhaps some other provisions, as well. But we  
14 would just make sure that we have the comment  
15 period that is required, minimally, and then any  
16 additional -- you're always free to expand the  
17 comment period and have additional opportunities  
18 to engage stakeholders.

19 COMMISSIONER MCALLISTER: Okay, great.  
20 So I don't know if anybody else has comments?  
21 No? Okay. Okay, thank you. So we actually have  
22 two items here, one is a Negative Declaration and  
23 the next is the Update itself, so I'm going to  
24 read a point about each as part of a proposed  
25 motion.

1           MR. BREHLER: Excuse me, Commissioner,  
2 before you do that, we also have, as Mr. Strait  
3 mentioned earlier, staff had a revised proposed  
4 resolution, there is a Proposed Resolution here  
5 in anticipation of this, that I should now give  
6 you and make available in the room.

7           COMMISSIONER MCALLISTER: Okay, yeah,  
8 absolutely. Thanks.

9           MR. BREHLER: And for the record, what  
10 this Resolution shows is what you're asking for  
11 in tracked changes, that way the folks in the  
12 room can see what the differences are.

13          COMMISSIONER MCALLISTER: Sorry, I was  
14 distracted. Could you repeat that?

15          MR. BREHLER: Sure. So the Resolution  
16 that's being passed out now has what we  
17 anticipated you doing now with the changes shown  
18 in tracked changes mode just for ease of  
19 identification. And those tracked changes are as  
20 compared to what staff distributed this morning.

21          COMMISSIONER MCALLISTER: This morning,  
22 okay. Great. So now I'm referring to the  
23 redlined document that was just handed out and  
24 will be docketed as soon as possible, correct?

25          MS. VACCARO: Well, if in fact the

1 pleasure of the Commission is to adopt it, then  
2 yes. What we wanted to do in anticipation of any  
3 possibility of how this might play out today is  
4 to have this available. And what you're see is  
5 you've got a Proposed Resolution that mirrors  
6 what Mr. Strait submitted this morning, although  
7 the difference is there's a redline strikeout to  
8 enable individuals to see exactly what we're  
9 excising and what it would be are the very  
10 sections that we were talking about earlier  
11 today. And so if you want to, Pippin, I think it  
12 would probably be good because folks who are  
13 participating via WebEx don't have the benefit of  
14 seeing this document, the changes are not many, I  
15 think it would probably be good for Pippin to  
16 just be able to walk those briefly through on the  
17 record.

18 CHAIRMAN WEISENMILLER: Please.

19 MR. BREHLER: Certainly. I don't know if  
20 there's an interest, I could bring a copy down on  
21 a thumb drive in a moment for the electronic  
22 broadcast, but in the absence of that, so the  
23 controversial provisions for the Nonresidential  
24 Lighting Provisions, for the Additions and  
25 Alterations, those changes are in Sections

1 141.0(B)(2)(i)-(l), and then there were changes  
2 to Tables 141.0(E) and (F). And so the  
3 Resolution on page 2 describes adoption of the  
4 Negative Declaration for the Standards with the  
5 exception of that, and it refers to as described  
6 below. The Resolution would adopt the provisions  
7 of the Negative Declaration pertaining to the  
8 proposed additions and amendments to the Building  
9 Energy Efficiency Standards as described below.

10           There is a change on page 3 that quotes  
11 from the Notice of Proposed Action that initiated  
12 the rulemaking, letting the public know of  
13 changes like that in the 15-day language that  
14 relate to the same issues and subject of the  
15 Regulations at issue. There's additional similar  
16 language on page 5 where the discussion wraps up  
17 about the Negative Declaration adopting the  
18 Standards as adopted today, what you're about to  
19 move, and would adopt the provisions of the  
20 Negative Declaration as those provisions pertain  
21 to the proposed additions and amendments to the  
22 Building Energy Efficiency Standards as described  
23 below here. There are a few minor edits that  
24 approximate the savings and benefits in light of  
25 not adopting these provisions at this time, a

1 similar edit on page 9, and then a similar edit  
2 on page 17, and then the heart of the matter on  
3 page 19, basically the conclusion of the  
4 Resolution that the California Energy Commission  
5 would adopt a Negative Declaration for the  
6 provisions of the Building Energy Efficiency  
7 Standards described in the next paragraph of the  
8 Resolution, and based on the content of the  
9 initial study as it pertains to the provisions  
10 being adopted today, and based on the full record  
11 including the comments today. And then the next  
12 paragraph describes the 15-day language with the  
13 Errata that staff circulated with the exception  
14 of the following proposed changes: And the  
15 current language of the following provisions  
16 would remain in effect until such further action  
17 as the Commission were to take on this for the  
18 California Code of Regulations, Part 6, Sections  
19 141.0(B)(2)(i)(j)(k) and (l), and Tables 141.0(E)  
20 and (F), and describing them this way comports  
21 with the ability to sever out these provisions  
22 and continue to consider them, and ultimately  
23 make any decision that you feel is appropriate.  
24 And then directing staff and the Executive  
25 Director to take all the steps that are necessary

1 to get the rulemaking package to the Building  
2 Standards Commission, including here the  
3 additional text which would be the published  
4 corrected versions of the 2016 Standards that  
5 reflect the Errata that staff has brought forward  
6 and at the moment retained in the existing  
7 provisions of 141.0(B)(2)(i)-(l) and Tables  
8 141.0(E) and (F) and any other necessary non-  
9 substantial changes to ensure that the  
10 Regulations are internally consistent with each  
11 other, in light of carving this piece out for the  
12 moment.

13           COMMISSIONER MCALLISTER: Okay. So I'm  
14 going to move the adoption first of the  
15 provisions of the Negative Declaration pertaining  
16 to the Proposed 2016 Additions and Amendments to  
17 the Building Energy Efficiency Standards as I'm  
18 about to describe, and mirroring what Pippin  
19 stated just now.

20           Second, the 15-day language for the 2016  
21 Update to the Building Energy Efficiency  
22 Standards with the exception of the proposed  
23 changes to Sections 141.0(B)(2)(i)(j)(k) and (l),  
24 and Tables 141.0-(E) and (F) of the Standards,  
25 and staff's non-substantial changes in its

1 Errata.

2           And third, the corresponding proposed  
3 Resolution with the attached Errata of non-  
4 substantial changes, which has been modified to  
5 reflect our decision today, and that has been  
6 made available to the Commissioners and the  
7 interested public at today's Business Meeting.

8           CHAIRMAN WEISENMILLER: Okay, so we have  
9 at least two items, we have a Negative Dec and we  
10 have the Update, and I need a second.

11           VICE CHAIR DOUGLAS: Second.

12           CHAIRMAN WEISENMILLER: For both?

13           VICE CHAIR DOUGLAS: For both.

14           CHAIRMAN WEISENMILLER: Okay, good.

15           MS. VACCARO: Yeah, and it also includes  
16 the adoption of the Resolution, so that's why the  
17 motion was packaged as essentially approving each  
18 of the three of those things.

19           CHAIRMAN WEISENMILLER: Great. Okay. We  
20 have a motion, we have a second for all three.

21           COMMISSIONER MCALLISTER: Okay, go for  
22 it. It's been moved, so call for the votes here.

23           CHAIRMAN WEISENMILLER: All those in  
24 favor?

25           (Ayes.) All those opposed? So it's

1 basically 5-0.

2 COMMISSIONER MCALLISTER: I'm looking  
3 forward to the process to bring this to closure  
4 and really again want to encourage and exhort all  
5 the stakeholders who have information that can  
6 inform this discussion to bring it to the table  
7 so that we can make a fully informed decision  
8 based on the needs and realities of the  
9 marketplace, so that we can massively scale-up  
10 efficient lighting in our built environment in  
11 California. So thank you very much for bearing  
12 with us throughout this discussion.

13 CHAIRMAN WEISENMILLER: Thanks for  
14 everyone's participation today and great progress  
15 so far, but a lot of work to do on this issue in  
16 a timely fashion.

17 So let's go on to Item 6.

18 COMMISSIONER MCALLISTER: So before  
19 everybody heads out, let's just circle back,  
20 actually. I want to -- I want to highlight the  
21 importance of this moment to everybody. You  
22 know, I don't want people to forget, right, we've  
23 had a little bit of a contentious discussion  
24 about one slice of the Title 24 Update, but this  
25 is huge for California and we talked about it

1 with respect to Residential, but I don't want to  
2 lose sight of the non-residential, as well. This  
3 is huge for California. We're going to get to  
4 the end point on the Nonresidential Alterations,  
5 but new construction is done in both Nonres and  
6 Res, and we're going to end up here presently,  
7 starting next year we're going to end up with a  
8 new construction, with a new building fleet that  
9 increasingly looks extremely high performing and  
10 comfortable and very low impact on our  
11 environment, and this is exactly where California  
12 needs to be heading, it's where our Governor  
13 wants to go, and we're all in with that broad  
14 goal. And so I just wanted, with the last bit of  
15 discussion I wanted to make sure we did not lose  
16 sight of that. This is a very very big deal and  
17 I want to just congratulate staff and all the  
18 stakeholders for participating in the rulemaking  
19 and, you know, let's move ahead with the builders  
20 and contractors and make it happen.

21 CHAIRMAN WEISENMILLER: Yeah, and  
22 certainly the rest of us salute you for your  
23 leadership in this area. But with that said,  
24 Item 6.

25 (Applause)

1 MS. GREEN: Good afternoon, Chair  
2 Weisenmiller and Commissioners. I'm Lynette  
3 Green, Project Manager for the Renewables  
4 Portfolio Standard Eligibility Guidebook. And to  
5 my right is Gabe Herrera, Legal Counsel.

6 Staff is requesting approval of revisions  
7 to the RPS Eligibility Guidebook. These proposed  
8 revisions are set forth in the Eighth Edition of  
9 the RPS Guidebook.

10 The RPS Guidebook describes the  
11 eligibility requirements and process for  
12 certifying renewable energy resources as eligible  
13 for California's RPS and describes how the Energy  
14 Commission verifies compliance with the RPS.  
15 Staff is proposing revisions to this Guidebook to  
16 implement changes in the law as a result of AB  
17 1478, incorporate requirements previously adopted  
18 by the Energy Commission in 2014, and the several  
19 Resolutions, clarify various requirements and  
20 processes related to RPS certification and  
21 verification, and improve the clarity and  
22 organization of the Guidebook.

23 These latter changes resulted in a number  
24 of non-substantive changes and edits to the text  
25 in various sections of the Guidebook. Before I

1 discuss the proposed changes in more detail, let  
2 me provide a brief overview of the process to  
3 develop the proposed changes to the Guidebook.  
4 Staff held two workshops to determine the scope  
5 of potential changes that would be considered to  
6 the Guidebook, one in September 2013 on the  
7 treatment of station service for the RPS and one  
8 in January 2014 on items described as outstanding  
9 issues in the Guidebook, and new items that had  
10 been brought to the staff's attention.

11           Staff considered all oral and written  
12 comments received at those workshops and worked  
13 closely with Commissioner Hochschild, the  
14 Renewable Lead Commissioner, to prepare and  
15 propose revisions to the Guidebook as needed and  
16 appropriate.

17           Additionally, three Resolutions related  
18 to the requirements and procedures for the RPS  
19 were separately approved and adopted by the  
20 Energy Commission during 2014. The first  
21 Resolution, No. 14-0422-11, was adopted on April  
22 22nd and established a process that allows the  
23 Executive Director to extend and waive the  
24 application deadlines for RPS certification based  
25 on certain criteria.

1           The second resolution, No. 14-1007-10,  
2 was adopted on October 7th, and established a  
3 process to allow creation of retroactive  
4 renewable energy certificates. And a third  
5 Resolution, No. 14-1117-14, was adopted on  
6 November 17th to establish a process to implement  
7 AB 1478, which amends and clarifies RPS  
8 Eligibility requirements for hydrogenating units  
9 up to 40 megawatts in capacity that are operated  
10 as part of water supplier conveyance system.  
11 Staff has incorporated provisions from these  
12 three Resolutions into the proposed Guidebook  
13 revisions being considered today.

14           The provisions from these Resolutions are  
15 being incorporated into the Guidebook so all  
16 certification and verification requirements and  
17 procedures for the RPS are compiled in one  
18 document.

19           Staff released a staff draft RPS  
20 Eligibility Guidebook, 8th Edition, on January  
21 16, 2015, with written comments due February  
22 17th. After considering all the comments and  
23 discussing them with the Renewables Lead  
24 Commissioner, it was recommended that the  
25 proposed Guidebook Revisions be limited to those

1 topics previously identified in the scoping  
2 workshop, and that any new topics be addressed in  
3 the next round of Guidebook revisions.

4           It is anticipated that a scoping workshop  
5 to discuss future Guidebook revisions will occur  
6 in early 2016. With the Renewables Lead  
7 Commissioner's direction and approval, staff  
8 released a staff final RPS Eligibility Guidebook  
9 8th Edition on June 1st, 2015, with written  
10 comments due June 5th.

11           I will now briefly discuss the proposed  
12 revisions to the Guidebook which can be found  
13 under the Section "What's New in this Guidebook."  
14 In summary, the proposed Guidebook revisions will  
15 do the following: Implement changes in law under  
16 Assembly Bill 1478, which revise the requirements  
17 for Hydroelectric Generation Units with a  
18 capacity of not exceeding 40 megawatts that are  
19 operated as part of a water supplier conveyance  
20 system.

21           Although the Commission adopted the  
22 Resolution No. 14-1117-14 in November of 2014 to  
23 implement AB 1478, Guidebook Revisions are  
24 proposed to both incorporate the provision of  
25 this resolution into the Guidebook and to clarify

1 these provisions, revise and clarify the  
2 requirements for RPS certified multi-fuel  
3 facilities related to their use of nonrenewable  
4 energy resource consistent with prior changes in  
5 law under Assembly Bill 1954. This legislation  
6 limits a facility's use of non-renewable energy  
7 resources for RPS purposes. Prior to Assembly  
8 Bill 1954, facilities were allowed to use higher  
9 amounts of non-renewable energy resources and  
10 still claim 100 percent of their generation as  
11 being RPS eligible.

12           This was reflected in prior versions of  
13 the RPS Guidebook, which grandfathered some  
14 facilities that were certified at the inception  
15 of the RPS Program and allow them to use up to 25  
16 percent nonrenewable energy resources, and still  
17 consider 100 percent of the generation to be RPS  
18 eligible.

19           These grandfathering provisions are now  
20 being phased out consistent with Assembly Bill  
21 1954. For facilities that were eligible under  
22 the existing Renewable Facilities Program, the  
23 allowance ends upon expiration of the facility  
24 contract that was in place as of December 31,  
25 2011.

1           If a facility was certified as a  
2 renewable qualifying small power production  
3 facility, the allowance ends upon expiration of  
4 the facility contract that was in place on the  
5 day this 8th Edition of the Guidebook is adopted.

6           Revised and clarify the Guidebook  
7 definitions of dedicated pipeline to include a  
8 functionally dedicated pipeline with no reporting  
9 requirements for biomethane. The proposed  
10 revisions were made to address concerns raised by  
11 SMUD. The current definition characterized as  
12 private carrier pipelines serving more than one  
13 end-user as a common carrier pipeline, which must  
14 meet delivery requirements and dedicated  
15 pipelines. The revised definition allows a  
16 functionally dedicated pipeline to be considered  
17 dedicated in situations where the operation of  
18 that pipeline prohibits the use of the gas at any  
19 other facility in all controllable circumstances.  
20 Applicants must provide documentation of the  
21 pipeline operational plans and actual execution  
22 when applying to be considered a functionally  
23 dedicated pipeline.

24           Revise and clarify the Guidebook  
25 definition of Station Service so it better aligns

1 with operating rules of the Western Renewable  
2 Energy Generation Information System, or REGIS.  
3 Under the current Guidebook, electricity used to  
4 meet a generating facility's station service  
5 load, or parasitic load, is not eligible for the  
6 RPS. This prohibition is not changed by the  
7 proposed revisions. The proposed revisions are  
8 intended to clarify station service to prevent  
9 power that is used to produce electricity, but  
10 which is not delivered to the end use customer  
11 from counting toward the RPS.

12           Revise and clarify the Guidebook  
13 definition of Prime Generating Equipment for  
14 repowered facilities so the equipment used for  
15 different renewable resources is treated  
16 consistently. The proposed revisions were made  
17 to address concerns raised by the Bioenergy  
18 Association of California regarding the equitable  
19 treatment of all technologies.

20           Revise and clarify the definitions of  
21 various Guidebook terms to reflect updates and  
22 non-substantive changes and edits to the  
23 Guidebook text.

24           Revise and clarify the method for  
25 determining the amount of incremental generation

1 from hydroelectric generation facilities that may  
2 be used for the RPS. The revisions were proposed  
3 to address a proposal by PG&E to allow  
4 incremental generation to be determined based on  
5 a pro rata approach using the rated improvements  
6 of the facility as approved by the Federal Energy  
7 Regulatory Commission and documented by the  
8 Applicant.

9           The revisions provide an alternative  
10 method for determining the amount of incremental  
11 generation associated with eligible efficiency  
12 improvements that may qualify for RPS.

13           The Guidebook also includes a number of  
14 revisions related to the documents of deadlines  
15 and format, RPS Eligibility dates, and reporting  
16 requirements. These include allowing electronic  
17 submittal in PDF and Microsoft Excel, allowing  
18 earlier RPS Eligibility dates if facilities meet  
19 certain conditions, allowing POUs to claim  
20 electricity generation from POU-owned aggregated  
21 units, beginning January 1, 2011, or when the  
22 generation was first available in REGIS,  
23 whichever is later, if the aggregated units meet  
24 certain criteria.

25           Adding a section for the annual reporting

1 of information on biomethane facilities using a  
2 functionally dedicated pipeline. Adding a  
3 section explaining reporting requirements for  
4 existing hydroelectric facilities operated as  
5 water supply or conveyance systems.

6           Extending the records retention period  
7 from three to five years to account for the three  
8 and four-year RPS compliance periods.

9           Adding a section to implement the  
10 provisions of the Commission's adopted Resolution  
11 that allows Executive Director to extend and  
12 waive RPS certification application deadlines if  
13 certain criteria are met.

14           Clarifies that biomass facility  
15 applicants must provide documentation to confirm  
16 their proposed fuel use meets the definition and  
17 requirements of biomass conversion, as defined in  
18 statute.

19           Clarifies that a form is not required to  
20 submit for simple amendments related to  
21 biomethane facilities that have changes only to  
22 their contract and four facilities that have  
23 changes to the authorized individuals,  
24 officer/agent, provided they are a representative  
25 of the facility holding the original

1 certification.

2           Also, we updated the forms as needed to  
3 reflect changes made in the Guidebook, as well as  
4 a glossary of terms.

5           As of June 8th, we received three sets of  
6 written comments which were also docketed and  
7 posted online from PacifiCorp, Pacific Gas &  
8 Electric Company, and San Francisco Public  
9 Utilities Commission. In PacifiCorp's written  
10 comments, they thank Energy Commission staff for  
11 making additional RPS Guidebook changes to  
12 clarify several topics, including changes related  
13 to offline station service, and the reporting of  
14 renewable energy credits to other agencies.  
15 PacifiCorp also recognized that the proposed RPS  
16 Guidebook changes identify energy imbalance  
17 market as an outstanding issue to be addressed in  
18 the future. PacifiCorp recommends adoption of  
19 the Staff Final Eighth Edition of the RPS  
20 Guidebook.

21           PG&E stated that the staff Final RPS  
22 Guidebook incorporated most of their earlier  
23 comments, except in one area dealing with energy  
24 storage. To give you a little background, an  
25 energy storage may be considered an addition or

1 enhancement to an RPS Eligible Renewable  
2 Generating facility if that device is either  
3 integrated into a generating facility, or  
4 directly connected to a generating facility.  
5 PG&E's comments relate to an energy storage  
6 device directly connected to a facility such that  
7 electricity that is delivered from the renewable  
8 generator to the energy storage device behind a  
9 meter, used for RPS purposes, and any electricity  
10 from a source other than the renewable generator  
11 is included as an energy input at the facility.  
12 PG&E is requesting staff to modify the language  
13 to include a reference to multi-fuel requirements  
14 as specified elsewhere in the Guidebook, as this  
15 scenario may include charging from the grid.

16           Staff does not think that a Guidebook  
17 change is warranted because, as specified in the  
18 proposed RPS Guidebook, any electricity from a  
19 source other than the renewable generator is  
20 included as an energy input to the facility,  
21 which would include multi-fuel sources.

22           In addition, PG&E wanted Energy  
23 Commission staff to be aware of a potential  
24 counting issue associated with the Net Energy  
25 Metered (NEM) renewable generators paired with

1 storage. PG&E is concerned about the difference  
2 in the NEM credit counting between the Energy  
3 Commission's calendar year, netting interval, and  
4 the real time basis of NEM credit eligibility.  
5 PG&E intends to clarify this issue in the CPUC's  
6 rulemaking on Net Energy Metering. Staff  
7 recommends that we defer to the CPUC rulemaking  
8 and wait for the outcome to determine if a  
9 Guidebook change is needed in the future.

10           Lastly, the San Francisco Public  
11 Utilities Commission submitted comments on the  
12 topic of incremental generation. The proposed  
13 RPS Guidebook identified three methodologies for  
14 determining incremental generation, Direct  
15 Measurement, Calculated Measurement, and Rated  
16 Facility Improvement for hydroelectric facilities  
17 only.

18           The San Francisco PUC expressed a concern  
19 with language for the calculated measurement  
20 method. This is the same language that was  
21 carried over from the seventh edition of the RPS  
22 Guidebook. Staff does not see a need to change  
23 this language since it currently adequately  
24 describes how incremental generation is  
25 calculated by considering a facility's baseline

1 renewable and nonrenewable generation components.

2           Staff requests that the Commission  
3 approve the Resolution adopting the proposed  
4 revisions to the RPS Eligibility Guidebook. This  
5 concludes my presentation. We're happy to answer  
6 any questions.

7           CHAIRMAN WEISENMILLER: Thank you.

8           MS. GREEN: Thank you.

9           CHAIRMAN WEISENMILLER: We have three  
10 public comments, so let's take those and then  
11 we'll turn to questions. Tim Tutt.

12           MR. TUTT: Good afternoon, Commissioner.  
13 Tim Tutt from Sacramento Municipal Utility  
14 District. I must admit, I thought this was going  
15 to be a good morning before the whole Building  
16 Standards stuff; I'm still pleased to be here.

17           We support the adoption of the Eighth  
18 Edition of the Guidebook. We think it's been  
19 substantially slimmed and we applauded staff for  
20 that in our comments back in February, taking a  
21 lot of the material out of it that is no longer  
22 necessary. We very much appreciate the addition  
23 of a functionally dedicated pipeline structure, a  
24 definition that I think SMUD can live with, with  
25 our pipeline that we use to serve our power

1 plants and that has some biomethane going through  
2 it. And we appreciate the incorporation of the  
3 Resolutions that you adopted.

4 I guess there's two things that I'd like  
5 to ask about or talk about. One is that there's  
6 still a provision in the Guidebook that prohibits  
7 the switching of a biomethane contract from one  
8 designated facility to another. You must  
9 understand that the designation of a facility is  
10 not part of the biomethane contract for these  
11 existing contracts, it's something that happens  
12 after the fact, and so is not at all prescribed  
13 or prohibited by anything in AB 2196 to switch  
14 from one facility to another.

15 SMUD has about 20 percent of our RPS  
16 procurement in terms of biomethane going to our  
17 Cosumnes Power Plant. And we're concerned that  
18 should something God forbid happen to that power  
19 plant, should it have a major problem or issue,  
20 that in effect that 20 percent of our RPS  
21 procurement would essentially be deemed no longer  
22 compliant, no longer part of the renewable  
23 procurement we have. That would be a violation  
24 of our contracts and we don't feel like that's a  
25 reasonable position to put us in, and there's

1 nothing we can see in AB 2196 that suggests that  
2 that should happen.

3           And second, we appreciate the special  
4 case that was included for POU ownership of  
5 Behind-the-meter systems back to January 1, 2011,  
6 but SMUD continues to maintain that all of our  
7 Behind-the-meter solar that we have procured the  
8 RECs for, that we have reported to the CEC, that  
9 we're tracking in REGIS, that we've used the ITS  
10 Tracking System for before we got them in REGIS,  
11 all of that should be eligible back to January 1,  
12 2011 when SBX12's first compliance period  
13 started. SBX12 started -- allowed these  
14 unbundled RECs or these distributed generation  
15 systems to be included. We started procuring  
16 them early, but we certainly, from January 1st  
17 on, it doesn't make sense to not allow that  
18 procurement in our minds. We need something more  
19 than just that limited exemption that's in the  
20 current Guidebook. We'll work with staff to help  
21 resolve some of these issues and appreciate your  
22 time today. Thank you.

23           CHAIRMAN WEISENMILLER: Thank you.  
24 Valerie Winn.

25           MS. WINN: Good afternoon, Commissioners.

1 Valerie Winn with Pacific Gas and Electric  
2 Company. I too also wanted to add my thanks for  
3 the work of the staff on updating this Eighth  
4 Guidebook. As has already been noted, many of  
5 our suggestions were reflected in the Updates and  
6 we were very pleased with that.

7           We did have one area that, as noted, we  
8 continue to focus on and this was really in the  
9 area of energy storage and where there's storage  
10 attached to a renewable device, and that storage  
11 could be either charged from an onsite renewable  
12 generator, or it could be charged from the Grid.  
13 And our concerns are really aimed at adding  
14 clarifying language that would really say, if  
15 you're charging from two different sources, the  
16 max that you could ever say is going to be  
17 renewable is based on the size of that renewable  
18 facility you have. And that's really aimed at  
19 maintaining the integrity of the RPS portfolio  
20 and how things get counted there.

21           So we'll continue to work with staff on  
22 that issue and I understand they think it's  
23 appropriately addressed by the language that's  
24 there, and we'll just work through that side by  
25 side, and if we feel that this language is still

1 needed, we'll bring it up again for the Ninth  
2 Guidebook.

3 CHAIRMAN WEISENMILLER: Great. Thank  
4 you.

5 MS. WINN: Thank you very much.

6 CHAIRMAN WEISENMILLER: Stay tuned, huh.  
7 Ormat Technologies, I believe, is on the line.

8 MR. MULLER: This is Phillip Muller  
9 speaking on behalf of Ormat Technologies. Ormat  
10 operates over 200 megawatts of geothermal  
11 capacity in California for a total of 400  
12 megawatts in WECC. I apologize for not being  
13 there in person this morning, but I still have  
14 this water falling from the sky and I didn't know  
15 what to do, so I decided to stay in the office.

16 Ormat's primary concern is with the  
17 description of station service specified in the  
18 Guidebook draft. Specifically, the examples of  
19 station service discussed in Note 22 on page 29  
20 of the draft, that does not apply to station  
21 service directly consistently, and instead  
22 unfairly discriminates against geothermal  
23 resources.

24 According to that note, all of the energy  
25 required to transport geothermal brine from the

1 well site, the point of production, to the  
2 generation facility is considered station  
3 service. Alternatively, for biomass facilities  
4 energy to transport and process fuel is excluded  
5 from the definition of station service. For  
6 biomethane facilities only the incremental energy  
7 required to move the fuel from the purchase point  
8 to the combustor is considered station service.

9           Thus it appears that only for geothermal  
10 resources is the energy required to move the fuel  
11 from the production location to the generating  
12 facility considered a station service.

13           Now, to achieve consistency among  
14 resource types, Ormat recommends that the  
15 Commission revise the Guidebooks to specify that  
16 for all technologies, energy required to  
17 transport fuel from the production point to the  
18 generation facility should not be considered a  
19 station power. And that is our concern.

20           CHAIRMAN WEISENMILLER: Thank you.  
21 Steven Kelly.

22           MR. KELLY: Good afternoon,  
23 Commissioners. I'm Steven Kelly, the Policy  
24 Director for the Independent Energy Producers  
25 Association. And I just wanted to focus my

1 comments, I wasn't planning on speaking today  
2 because we're generally supportive of the Eighth,  
3 the draft that was circulated on June 1, didn't  
4 comment on it officially.

5           But I just wanted to bring to your  
6 attention, following up on some of the comments  
7 that have already been made today by my colleague  
8 Tim Tutt and others, this issue about behind-the-  
9 meter RECs and the treatment of that is very  
10 substantive, complex, and controversial. And to  
11 the extent there's any consideration for  
12 integrating new language into this version, the  
13 eighth version of the RPS Guidebook, dealing with  
14 that issue I would hope that you would allow  
15 parties additional time to review, comment and  
16 consider that. If we're taking it up in the  
17 Ninth version, that's fine, we'll deal with it  
18 then, but I do have some concerns about any  
19 modifications that haven't been released in the  
20 June 1st draft because they will likely be, like  
21 I said, very substantive, very controversial, and  
22 need consideration. So I'm supportive of moving  
23 forward on the Eighth version that was released  
24 on June 1st, I think that's fine; if additional  
25 substantive things are added to that version,

1 then I would hope that you would give us an  
2 opportunity to review that language because it's  
3 critical that we have an opportunity to review  
4 that. Thank you.

5 CHAIRMAN WEISENMILLER: Thank you. Okay,  
6 so anyone else either in the room or on the  
7 phone? Okay, so let's turn to the Commissioners.

8 COMMISSIONER HOCHSCHILD: Let me first  
9 thank Lynette and Gabe for your steady hand at  
10 the wheel. I know the previous item took five  
11 hours, I was hoping you'd be okay if we just did  
12 four and a half on this one? I'm kidding.

13 CHAIRMAN WEISENMILLER: Sleeping bags.

14 COMMISSIONER HOCHSCHILD: Yeah, exactly.  
15 No, I do hear all the comments from the  
16 stakeholders. I'm comfortable with where we are  
17 with the Regs as they've been drafted today and  
18 unless there's further discussion, I would move  
19 this item.

20 COMMISSIONER MCALLISTER: I'll second.

21 CHAIRMAN WEISENMILLER: All those in  
22 favor?

23 (Ayes.) This also passes 5-0.

24 CHAIRMAN WEISENMILLER: Let's go on to  
25 Item 7. City of Davis.

1 MS. VACCARO: Chair Weisenmiller, before  
2 we move on, if we might be able to clarify for  
3 folks who perhaps are a bit confused about some  
4 of the communications earlier this morning.

5 There were votes taken on Items 1, 3 and  
6 4 by the four Commissioners before Commissioner  
7 Hochschild came, and there was the possibility  
8 that those votes would be reopened in order to  
9 allow him to vote, as well, but that did not  
10 happen, those votes did take place, they're on  
11 the record, those items moved forward with 4-0  
12 votes. And it's my understanding that we are not  
13 going to be moving forward to reopen those votes.  
14 Is that --?

15 CHAIRMAN WEISENMILLER: That's correct.  
16 Thanks for getting that on the record to make  
17 sure there's no confusion. Let's go to Davis.

18 MR. MCLEOD: Can I have three minutes on  
19 my clock, please?

20 Good afternoon. I'm Barry McLeod with  
21 the Energy Efficiency Division's Local Assistance  
22 and Finance Office. I am here today seeking  
23 approval for Agreement 00514ECD in Energy  
24 Conservation Assistance Act one percent loan to  
25 the City of Davis in the amount of \$3 million.

1 The City of Davis has requested this loan to help  
2 fund an energy efficient retrofit lighting  
3 project throughout the City. The project will  
4 retrofit 4,486 street, bike path, and pedestrian  
5 pathway lights with various types of LED  
6 fixtures.

7 The total project cost is \$3,595,537 and  
8 the City will be receiving rebates totaling  
9 \$269,415 from PG&E, and they'll be covering the  
10 rest of the project themselves. The project will  
11 save an estimated 1,124,592 kilowatt hours per  
12 year, resulting in utility cost savings of  
13 \$220,065 per year. When completed, greenhouse  
14 gas emissions will be reduced by approximately  
15 388 tons per year. Based on the amount of the  
16 loan, the simple payback period is 13.6 years.  
17 Staff has determined that this loan request  
18 complies with all program requirements, and I'm  
19 here to seek your approval. Thank you.

20 CHAIRMAN WEISENMILLER: Thank you. First,  
21 does anyone either in the room or on the phone  
22 have comments? Then, Commissioners? Any  
23 questions?

24 COMMISSIONER MCALLISTER: We don't have  
25 to disclose -- we disclosed on the U.C. Davis

1 connection here, Commissioner Douglas and I, but  
2 --

3 CHAIRMAN WEISENMILLER: Disclosing once  
4 was enough, although --

5 COMMISSIONER MCALLISTER: We're not  
6 disclosing that we're residents of Davis, right?

7 MR. MCLEOD: City of Davis.

8 COMMISSIONER MCALLISTER: City of Davis.

9 CHAIRMAN WEISENMILLER: Is that your  
10 block? Is that what you're telling us?

11 COMMISSIONER MCALLISTER: I don't know, I  
12 have no conflicts. Anyway, hopefully.

13 CHAIRMAN WEISENMILLER: Hopefully. Okay.

14 COMMISSIONER MCALLISTER: I'll go ahead  
15 and move Item 7.

16 COMMISSIONER HOCHSCHILD: Second.

17 CHAIRMAN WEISENMILLER: All those in  
18 favor?

19 (Ayes.) Thank you.

20 MR. MCLEOD: Thank you.

21 CHAIRMAN WEISENMILLER: Now for Items 8  
22 and 9, we're going to have a joint presentation  
23 of both, but we will have separate votes. So,  
24 Paula David, please.

25 MS. DAVID: Good afternoon, Chair

1 Weisenmiller and Commissioners. My name is Paula  
2 David and I am the Education and Outreach Lead in  
3 the Standards Implementation Office.

4 Today staff is asking for the  
5 Commission's consideration of two Interagency  
6 Agreements and their Resolutions. Although I am  
7 presenting Items 8 and 9 together, they will  
8 require separate action.

9 Agenda Item 8 is a contract with the U.C.  
10 Davis-based Western Cooling Efficiency Center for  
11 \$355,000, funded by the Energy Resources Program  
12 Account. Agenda Item 9 is a contract with the  
13 U.C. Davis-based California Lighting Technology  
14 Center for \$645,000, also funded by the Energy  
15 Resources Program account.

16 If these contracts are approved, staff  
17 will utilize the experience and expertise of the  
18 Western Cooling Efficiency Center and the  
19 California Lighting Technology Center to produce  
20 video-based learning modules and other  
21 educational content for a new online resource  
22 center that will be located on the Energy  
23 Commission website.

24 Code compliance is crucial to achieving  
25 the Energy Standards goals and most of the

1 questions our Title 24 hotline receives are about  
2 lighting and mechanical projects.

3           The Standards Implementation Office  
4 produced online training videos for the 2008  
5 Energy Standards and received a significant  
6 amount of positive feedback from stakeholders who  
7 appreciated the user-friendly compliance  
8 resources.

9           We would like to update and expand the  
10 website content to address many of the  
11 compliance-related questions and comments that  
12 staff has received from stakeholders. The online  
13 resource center has three primary goals, to raise  
14 awareness of the benefits of each energy standard  
15 cycle, to increase knowledge of energy efficient  
16 best practices for Residential and Nonresidential  
17 Buildings, and to address technical barriers to  
18 Code compliance.

19           The online resource center will be a 24-  
20 hours a day, seven days a week one-stop-shop. It  
21 will offer free help for anyone, and especially  
22 for enforcement agencies, builders, energy  
23 consultants, and building designers. It will  
24 provide technical assistance for the current  
25 Energy Standards, and also for the 2016 Energy

1 Standards, well before the January 2017 effective  
2 date.

3           In addition to learning modules and  
4 compliance resources for the online resource  
5 center, the contract with the California Lighting  
6 Technology Center also includes technical support  
7 services for the Appliances and Existing  
8 Buildings Office and the Buildings Standards  
9 Development Office.

10           The Standards Implementation Office is  
11 already hard at work preparing to implement the  
12 2016 Building Energy Efficiency Standards.  
13 Constructing the online resource center is a  
14 major component of our outreach and education  
15 efforts. If these contracts are approved, work  
16 will begin next month, developing helpful new  
17 compliance tools, training and information about  
18 the lighting and mechanical requirements in the  
19 Energy Standards.

20           Representatives from both Centers  
21 Outreach Programs are here today and they would  
22 like to make brief comments. And as I mentioned  
23 earlier, each Interagency Agreement is a separate  
24 agenda item, requiring separate action. Thank  
25 you for your consideration.

1                   CHAIRMAN WEISENMILLER: Thank you. So  
2 let's start with the comments from the Western  
3 Cooling Center.

4                   MR. FORTUNATO: Hello. My name is Paul  
5 Fortunato and I'm the Outreach Coordinator at the  
6 Cooling Center. I just wanted to thank the  
7 Commission for allowing us to have this  
8 opportunity and we look forward to working with  
9 you in the future on this.

10                  CHAIRMAN WEISENMILLER: Great, thank you.  
11 Please, come on up for Item 9.

12                  MS. CUNNINGHAM: Kelly Cunningham,  
13 Outreach Director at the California Lighting  
14 Technology Center. And on behalf of the  
15 California Lighting Technology Center, U.C.  
16 Davis, I offer comments that we are thankful for  
17 the opportunity to continue our mutual mission of  
18 reducing unnecessary lighting energy use across  
19 California and collaborating in pursuit of State  
20 Energy Efficiency Goals. Increasing awareness of  
21 the Standards through education and outreach will  
22 assist in dispelling misinformation and garnering  
23 support for compliance. Supporting the evolution  
24 of the Standards as evidenced today is also a  
25 critical part of this process. We look forward

1 to working with you and your staff on the goals  
2 outlined in the agreement and addressing both of  
3 these needs. Thank you.

4 CHAIRMAN WEISENMILLER: Thank you. So  
5 let's first deal with Item -- I believe there's  
6 no other comments either in the room or on the  
7 line, so let's go to Item 8.

8 COMMISSIONER MCALLISTER: Great, so I  
9 just wanted to comment that I think really for  
10 the benefit, I'm not sure how much the other  
11 Commissioners get in their briefings, but for  
12 everyone's benefit I don't know that most people  
13 understand what a "nerve center" this place is  
14 for inquiries about Title 24. We get huge  
15 numbers of inquiries. And Joan, and Chris, and  
16 Paula and the rest of the team really do a  
17 terrific job of fielding all those calls. And  
18 they've got a whole phalanx of students that  
19 they're all trained up and get just dozens,  
20 hundreds, thousands of inquiries. And so I think  
21 having a structured -- they've been doing lots of  
22 outreach across the state, talking to  
23 stakeholders, you know, figuring out what  
24 categories are the ones we really need to hit and  
25 developing modules to help educate the public

1 about that, and the stakeholders across the  
2 state, traveling around lately to really get that  
3 done effectively and in person.

4           So this is one step in complementing that  
5 kind of personalized outreach with kind of a more  
6 efficient approach, which is putting it online  
7 and referring people to that, and building that  
8 kind of knowledge base. And it's great because  
9 this is a terrific opportunity because we can  
10 improve it iteratively, it's not a new inquiry  
11 every time, we can say, okay, well, this page  
12 gets better and better and reflects the actual  
13 current state of Title 24, and there's no doubt  
14 about that. So, really, resolving any confusion  
15 and being very effective and efficient with our  
16 staff resources is fundamentally what this is  
17 about and I think it's just terrific.

18           So I will move Item 8.

19           COMMISSIONER SCOTT: Second.

20           CHAIRMAN WEISENMILLER: All those in  
21 favor?

22           (Ayes.) This item passes 5-0.

23           Let's go on to Item 9.

24           COMMISSIONER MCALLISTER: I'll move Item  
25 9.

1 COMMISSIONER SCOTT: Second.

2 CHAIRMAN WEISENMILLER: All those in  
3 favor?

4 (Ayes.) Item 9 also passes 5-0. Thank  
5 you.

6 CHAIRMAN WEISENMILLER: Let's go on to  
7 Item 10, University of California at Berkeley.  
8 Maunee.

9 MS. BERENSTEIN: Good afternoon, Chair  
10 and Commissioners. My name is Maunee Berenstein  
11 from the Appliances and Existing Buildings Office  
12 in the Efficiency Division. The Energy  
13 Commission periodically adopts Appliance  
14 Efficiency Standards to reduce the wasteful  
15 energy or water consumption of appliances in the  
16 state. These Standards result in statewide  
17 energy savings exceeding \$50 million per year  
18 when fully implemented.

19 Senate Bill 617 requires State agencies  
20 to perform a Standardized Regulatory Impact  
21 Assessment, or SRIA, for all new regulations that  
22 have a potential statewide impact of \$50 million  
23 or more.

24 The SRIA requires a complex macroeconomic  
25 analysis of the proposed Regulations statewide

1 impact on jobs, businesses, competitive  
2 advantages and disadvantages of doing business in  
3 the state, investments in the state, incentives  
4 for innovation, and the benefits of the  
5 Regulation.

6 We request approval of Item 10, an  
7 Interagency Agreement with U.C. Berkeley for  
8 \$300,000 to perform these complex macroeconomic  
9 analyses for new Appliance Efficiency Regulations  
10 and to provide additional economic analysis  
11 services as required by the Efficiency Division.

12 CHAIRMAN WEISENMILLER: Great, thank you.  
13 Any comments, either the public, the phone, or in  
14 the room? Then otherwise, Commissioners?

15 COMMISSIONER MCALLISTER: So I'm fully in  
16 support of this. You know, the paradigm sort of  
17 shifted on how we authorize and get this kind of  
18 analysis and I think we've tried to evolve into a  
19 more kind of situation where we're figuring out  
20 well beforehand what it is that we need, and then  
21 going out and contracting for that, and so rather  
22 than sort of in the moment going through those  
23 discussions. And I think this is a much more  
24 kind of rigorous and transparent way to do it.  
25 So this is a contract along those lines, to get

1 the kind of technical assistance that we need.

2 So I'll move Item 10.

3 COMMISSIONER HOCHSCHILD: Second.

4 CHAIRMAN WEISENMILLER: All those in  
5 favor?

6 (Ayes.) This passes 5-0. Thank you.

7 CHAIRMAN WEISENMILLER: Let's go on to  
8 Resource Systems Group. Aniss, please.

9 MS. BAHREINIAN: Good afternoon,  
10 Commissioners. My name is Aniss Bahreinian and  
11 I'm in the Energy Assessment Division and I'm  
12 here to seek approval of our contract with RSG,  
13 Inc. Periodically the Energy Commission conducts  
14 a vehicle survey of both California households  
15 and commercial sector owners of light-duty  
16 vehicle fleets to assess consumer demand for  
17 light-duty vehicles. Unlike many other vehicle  
18 surveys, Commission surveys differentiates  
19 between Residential and Commercial market  
20 segments.

21 The light-duty vehicles in the survey  
22 include both the vehicles that are commercially  
23 available in the market today and those that are  
24 anticipated to be commercially available in the  
25 next few years.

1           The marketplace is indeed complex, as  
2 Commissioner McAllister has repeated a number of  
3 times today, and they are indeed dynamic. The  
4 changing market conditions and fuel  
5 infrastructure, as well as fuel and vehicle  
6 technologies, affect consumers' awareness and  
7 knowledge of the new fuel and vehicle  
8 technologies and fuel availability. And as such,  
9 they influence their preferences for the new and  
10 conventional vehicle technologies. These changes  
11 in consumer awareness and behavior require  
12 repeating the survey to capture the shifts in  
13 consumer preferences.

14           The Energy Commission has been at the  
15 forefront of exploring consumer preferences for  
16 new vehicle technologies. We incorporate these  
17 emerging technologies into our survey. In the  
18 2011 survey, we added hydrogen vehicles, and in  
19 the 2015 survey round, we plan to add Self-  
20 Driving Vehicles, also known as Autonomous  
21 Vehicles, or also Department of Energy knowns  
22 them as Connected and Automated Vehicles, or CAV.  
23 We are adding Self-Driving Vehicles to the list  
24 of vehicle technologies for which we assess  
25 consumer preferences. These vehicles have the

1 potential to better serve a growing segment of  
2 California population, and they can also alter  
3 the vehicle ownership model in California.

4           Additionally, the growing number of PEV  
5 owners in California has allowed us to add a  
6 target sample of PEV owners with more experience  
7 in utilizing the PEVs in their household fleet of  
8 vehicles.

9           In this survey round, we also have added  
10 a new region, based on Cal EPA designation of  
11 disadvantaged communities, to specify a new  
12 survey region for better understanding of Central  
13 Valley residents' preferences for different new  
14 and conventional vehicle technologies, and the  
15 factors that influence their choices.

16           In the 2011 Survey, we worked closely  
17 with ARB and Caltrans, who were both involved  
18 from the very beginning of the survey. In 2011,  
19 ARB made significant contribution to the survey  
20 design process and Caltrans had a major role and  
21 contribution in the execution of our household  
22 survey.

23           For this survey, we have been working  
24 with ARB and Caltrans starting from the formation  
25 of scope of work to the scoring of the proposal

1 and selection of the contractor. This  
2 collaboration will continue into the survey  
3 design as it did in the 2011 survey. We held a  
4 well-attended conference to facilitate the  
5 competitive process and received three proposals,  
6 all bidders were qualified to undertake the  
7 project, and the contract was awarded to RSG at  
8 \$995,525, well below the \$1.159 million that was  
9 the maximum funding.

10 I'm here to seek your approval of our  
11 contract with RSG through the proposed  
12 Resolution. And I'm here to answer any questions  
13 that you have.

14 CHAIRMAN WEISENMILLER: Thank you. Any  
15 comments from anyone either in the room or on the  
16 phone? Okay, so Commissioners?

17 COMMISSIONER SCOTT: I move approval of  
18 Item 12.

19 COMMISSIONER HOCHSCHILD: Second.

20 CHAIRMAN WEISENMILLER: All those in  
21 favor?

22 (Ayes.) Item 12 passes 5-0. Thank you.

23 MS. BAHREINIAN: Thank you very much.

24 CHAIRMAN WEISENMILLER: Let's go on to  
25 Item 13, Aspen Environmental Group. Reta.

1 MS. ORTIZ: Good afternoon,  
2 Commissioners. My name is Reta Ortiz and I work  
3 in the Research and Development Division. I'm  
4 here today to request approval of a contract for  
5 \$3 million with Aspen Environmental Group to  
6 provide technical assistance to the Research and  
7 Development Division's EPIC Program.

8 The proposed contract was a result of a  
9 competitive solicitation. This will provide as-  
10 needed support services to the program staff  
11 primarily to help evaluate applications and  
12 proposals received for EPIC Program funding  
13 opportunities. Additionally, this contract will  
14 provide technical review assistance for  
15 technology, transfer plans, and production  
16 readiness plans. Finally, it will provide  
17 assistance in preparing feasibility studies and  
18 technical and outreach materials. I'd be happy  
19 to answer any questions.

20 CHAIRMAN WEISENMILLER: Thank you.  
21 Commissioners, this is, as we look through the  
22 whole aspect of getting projects out, with EPIC  
23 now we're looking at more CEQA-type of issues,  
24 and so this is really a critical element moving  
25 forward of having tech support particularly with

1 expertise in that area.

2 VICE CHAIR DOUGLAS: I'll just note that  
3 I've been pretty impressed with the way that the  
4 EPIC group has been thinking about siting and  
5 environmental issues as they relate to energy  
6 research, so I definitely strongly support this,  
7 as well. I'll move approval of Item 13.

8 COMMISSIONER MCALLISTER: I'll second.

9 CHAIRMAN WEISENMILLER: All those in  
10 favor?

11 (Ayes.) This passes 5-0.

12 CHAIRMAN WEISENMILLER: Let's go on to  
13 Item 14. University of California San Diego.  
14 Susan Wilhelm, please.

15 MS. WILHELM: Good afternoon,  
16 Commissioners. I'm Susan Wilhelm of the Energy  
17 Generation Research Office. Today I'm requesting  
18 approval for funding an Interagency Agreement  
19 entitled "Weather-Related Scenarios for the  
20 Natural Gas System: California's Fourth Climate  
21 Change Assessment."

22 The project will leverage a new  
23 statistical downscaling technique known as  
24 Localized Constructed Analogs, or LOCA, for  
25 producing high resolution climate change

1 scenarios from the course resolution output of  
2 global climate models. This new technique is a  
3 substantial advance from prior downscaling  
4 methods; for example, it is better at simulating  
5 temperature extremes and it more realistically  
6 represents geographical distribution of  
7 precipitation. However, LOCA does not simulate  
8 some meteorological factors, including solar  
9 radiation and cooling degree days that are  
10 important to estimate natural gas demand and  
11 potential impacts of climate change to the  
12 natural gas system.

13           Additionally, coastal natural gas  
14 facilities are exposed to storms and other  
15 extreme events that will increase in frequency  
16 with climate change. The impact of coastal  
17 storms will depend in large part on the magnitude  
18 and timing of sea level rise. New projections  
19 are needed to help decision makers cope with the  
20 wide range of possible sea level rise scenarios  
21 and to support probabilistic risk assessments for  
22 California's coastal natural gas infrastructure.

23           Finally, seismic risks in the Sacramento  
24 San Joaquin Delta may be higher than expected and  
25 more detailed measurements of the movement of the

1 levees is required to produce a more accurate  
2 estimation of risks. Several important natural  
3 gas facilities, as you know, are located in the  
4 Delta.

5           Specific goals of this project are to  
6 develop climate projections and scenarios for the  
7 natural gas system. Results will contribute to  
8 and be used as a basis for vulnerability and  
9 adaptation studies associated with California's  
10 Fourth Climate Change Assessment.

11           Staff recommends approval of this  
12 proposed project. I'm happy to address any  
13 questions you may have. Thanks.

14           CHAIRMAN WEISENMILLER: Thanks. Thanks  
15 for that presentation. Yeah, obviously the  
16 Fourth Climate Assessment is very important and  
17 this is a key part of that.

18           VICE CHAIR DOUGLAS: Yeah, absolutely.  
19 So I'll move approval of this item.

20           COMMISSIONER SCOTT: Second.

21           CHAIRMAN WEISENMILLER: All those in  
22 favor?

23           (Ayes.) This passes 5-0. Thank you.

24           CHAIRMAN WEISENMILLER: Let's go on to  
25 Item 15, Demonstrating Secure Reliable Microgrids

1 and Grid-Linked Electric Vehicles to Build  
2 Resilient Low Carbon Facilities in Communities.  
3 Eli.

4 MR. HARLAND: Good afternoon,  
5 Commissioners. My name is Eli Harland and I work  
6 in the Energy Systems Research Office. And in  
7 March 2015 we issued the Notice of Proposed  
8 Awards for Program Opportunity Notice 14301.  
9 This solicitation sought proposals for research  
10 demonstration projects that demonstrated advanced  
11 Microgrids and grid-linked Electric Vehicles to  
12 build resilient low carbon facilities in  
13 communications.

14 The solicitation had three project  
15 groups: group one was demonstration of low  
16 carbon-based Microgrids for critical facilities;  
17 group two is demonstration of high penetration  
18 renewable base Microgrids; and group three was  
19 demonstration of advanced Smart and bidirectional  
20 vehicle charging.

21 Seven agreements from this solicitation  
22 were already approved at the April 8th Business  
23 Meeting. Today staff is asking for your approval  
24 of two additional agreements that applied under  
25 Group One and will demonstrate low carbon

1 Microgrids for critical facilities. These two  
2 projects will demonstrate the value of Microgrids  
3 to customers and utilities and will help  
4 facilitate commercialization of these advanced  
5 energy systems.

6           The first agreement is with Charge Bliss,  
7 Inc. to develop a \$4.7 million Microgrid at the  
8 John Muir Medical Center. This Microgrid will  
9 provide economic and power quality benefits using  
10 250 kilowatts of photovoltaics, and a one  
11 megawatt hour battery system. The project team  
12 will be working closely with the Office of  
13 Statewide Health Planning and Development, the  
14 agency with jurisdictional oversight for the  
15 hospital Microgrid elements. Involving them  
16 early in the design and implementation will help  
17 the office refine Codes and requirements for  
18 hospital Microgrids to facilitate  
19 commercialization of Microgrids at hospitals  
20 throughout California.

21           The second agreement is with the Humboldt  
22 State University Sponsored Programs Foundation,  
23 Schatz Energy Research Center, to develop a \$5  
24 million Microgrid at the Blue Lake Rancheria.  
25 The Blue Lake Rancheria is a designated American

1 Red Cross Disaster Center for communities in  
2 Humboldt County and this grant will demonstrate a  
3 Microgrid that can operate indefinitely in the  
4 event of a grid outage. Both the County of  
5 Humboldt and the City of Blue Lake include the  
6 Rancheria in their local energy assurance plans.  
7 And the Rancheria has a successful track record  
8 of demonstrating its ability to operate in  
9 emergency situations by serving its evacuation  
10 site and operation center.

11 I'm also asking the Energy Commission to  
12 adopt staff's proposed Negative Declaration for  
13 purposes of the California Environmental Quality  
14 Act (CEQA) for the Blue Lake Rancheria Microgrid.  
15 Blue Lake Rancheria is a Federally recognized  
16 Native American Tribe, and the Microgrid project  
17 will be constructed on land that is self-governed  
18 by the Rancheria. The Rancheria conducted an  
19 environmental review according to their  
20 environmental policy ordinance which requires a  
21 detailed report on the environmental impacts of  
22 the proposed action that is of substantial  
23 compliance with the requirements set out in the  
24 National Environmental Policy Act.

25 On March 31, 2015, the Rancheria approved

1 their environmental assessment of the proposed  
2 project and made a finding of no significant  
3 impact. Because the Energy Commission proposes  
4 to fund the Microgrid project, an activity that  
5 may cause a direct or indirect physical change in  
6 the environment, the Energy Commission must  
7 comply with CEQA.

8           The Negative Declaration includes staff's  
9 initial study, the potential effects to the  
10 environment located outside of the tribal land,  
11 as well as the tribe's environmental assessment  
12 and finding of no significant impact.

13           As described in the initial study, Energy  
14 Commission staff determined that the proposed  
15 project cannot have a significant effect on the  
16 environment.

17           Therefore, staff has prepared and  
18 recommends that the Energy Commission adopt the  
19 Negative Declaration for this project. The  
20 public comment period for staff's draft Negative  
21 Declaration ended on June 8, 2015, and staff did  
22 not receive any comments on the Draft Negative  
23 Declaration.

24           I respectfully request your approval of  
25 the agreement with Charge Bliss and your approval

1 of the Agreement with Humboldt State University  
2 sponsored Programs Foundation, including your  
3 adoption of the Negative Declaration. I believe  
4 that we have Jana Ganion from the Rancheria and  
5 Dr. Peter Lehman from Humboldt State on the  
6 phone, and they would like to make brief  
7 comments.

8 CHAIRMAN WEISENMILLER: That would be  
9 great. Please, go ahead.

10 DR. LEHMAN: -- Energy Research Center at  
11 Humboldt State University, and I'm the principal  
12 investigator for this project. And on behalf of  
13 our Center, I'd like to thank the Commissioners  
14 for considering our project.

15 As Eli described, we're proposing to  
16 install a Microgrid at the Blue Lake Rancheria in  
17 rural Northern Humboldt County. It will  
18 incorporate an existing 175 kilowatt Gasifier  
19 Fuel Cell Power System and will add a new 400  
20 kilowatt PV array and 800 kilowatt hours of  
21 battery storage, all to be managed by a  
22 sophisticated Microgrid Controller.

23 Again, as Eli described, this is an  
24 exciting project, it has important benefits for  
25 California. The Rancheria is a nationally

1 recognized Red Cross Disaster Center, and this  
2 Microgrid will provide continuous renewable power  
3 to the Rancheria in the event of a natural  
4 disaster or other emergency. This will improve  
5 the Rancheria's abilities to serve as an  
6 emergency shelter and evacuation site for our  
7 region. And now I'll turn it over to my  
8 colleague, Jana.

9 MS. GANION: Hello, this is Jana Ganion,  
10 Energy Director for the Blue Lake Rancheria  
11 Tribe. I will just briefly echo Peter's comments  
12 and add to them in that we also want to thank the  
13 Commission and the Commission staff for its hard  
14 work on and support of energy projects on Tribal  
15 lands. In our experience, working with the  
16 Commission and its staff has been extremely  
17 productive and together we are creating new and  
18 exciting opportunities for State Tribal  
19 partnerships to achieve California's energy  
20 goals. And now Peter will briefly describe the  
21 partnership team.

22 DR. LEHMAN: Thanks, Jana. So we have a  
23 crack team assembled to undertake this project.  
24 In addition to the Schatz Center and the Blue  
25 Lake Rancheria Tribe, our partners include

1 Pacific Gas & Electric Company, Siemens, the  
2 Idaho National Laboratory, Tesla, and REC Solar.  
3 PG&E was exceptionally helpful in compiling our  
4 proposal and their participation is key to the  
5 viability of this project. PG&E is going to sell  
6 the Tribe a portion of their distribution line  
7 and will work with us to design and install the  
8 interconnection.

9 Siemens will provide the Microgrid  
10 Controller. Idaho Lab will provide Microgrid  
11 simulation and testing. Tesla will provide the  
12 storage battery. And REC Solar will provide the  
13 PV array.

14 We're grateful to the Commissioners'  
15 support to date, and we thank you for considering  
16 approval of our project today. Thanks.

17 CHAIRMAN WEISENMILLER: Thank you.  
18 Thanks for calling in. Any other comments,  
19 Commissioners?

20 VICE CHAIR DOUGLAS: I'll make a few  
21 comments. I had a chance to get a briefing from  
22 Eli, which I appreciated. I was interested in  
23 this project really for a couple of reasons, one  
24 is that Humboldt County is an area that can  
25 benefit really greatly from some investments in

1 energy resiliency. It's fairly constrained in  
2 terms of natural gas supply and energy supply,  
3 generally, and in terms of the Humboldt region,  
4 really organized and participated in the Cal  
5 League Program which was a program a couple years  
6 ago funded by ARRA dollars that supported local  
7 governments in doing energy resiliency planning  
8 and this is one of the facilities that was  
9 identified as a priority in that process, and the  
10 Rancheria has been a really great partner and I  
11 really look forward to, you know, I appreciate  
12 them stepping up with this project and look  
13 forward to what they will be able to do with the  
14 help of the grant because the Microgrid proposal  
15 is pretty exciting. And I didn't mean to focus  
16 only on this proposal because the Item 15a, the  
17 Charge Bliss, I did not get a briefing on, but  
18 I've looked at that, as well, and these Microgrid  
19 proposals have generally been pretty creative and  
20 pretty interesting.

21           So I'll move approval of Item 15a and b,  
22 including the Negative Declaration for Item 15b.

23           COMMISSIONER HOCHSCHILD: Second.

24           CHAIRMAN WEISENMILLER: All those in  
25 favor?

1 (Ayes.) This passes 5-0. Thank you.

2 CHAIRMAN WEISENMILLER: Let's go on to  
3 Item 16, Bringing Energy Efficiency Solutions to  
4 California's Industrial, Agricultural, and Water  
5 Sectors. Please.

6 MS. MOHNEY: Good afternoon,  
7 Commissioners. My name is Leah Mohney and I'm  
8 from the Energy Efficiency Research Office with  
9 the Research and Development Division.

10 I'm requesting approval of the last two  
11 grants recommended for funding under this  
12 competitive solicitation. We received 13  
13 proposals and eight were recommended for funding  
14 for a total of \$27,050,066. We are seeking  
15 approval of the following grants:

16 16a, Powwow Energy, Inc. Irrigation  
17 optimization and well pump monitoring to reduce  
18 energy and water consumption. It is estimated  
19 that California growers extracted an additional  
20 five million acre feet of groundwater from  
21 aquifers last year to compensate for the lack of  
22 surface water and rain. And that resulted in an  
23 additional \$454 million of energy costs for  
24 pumping water. The use of groundwater is not  
25 sustainable and prompted the Governor to sign

1 Senate Bill 1168 that requires growers to monitor  
2 groundwater extraction at their farms.

3 Powwow Energy has developed data analytic  
4 software that uses energy data from smart meters  
5 that have been installed at farms to calculate  
6 water extraction and application volumes for  
7 irrigation pumps.

8 As a software-based solution, this  
9 technology allows growers to automate water  
10 measurements and recordkeeping at their farms  
11 without increased labor costs, upfront capital  
12 investment, and without requiring additional  
13 equipment installations such as welding flow  
14 mirrors to pipes. This technology directly  
15 addresses the energy water nexus in agriculture  
16 by increasing the efficiency of water and energy  
17 use for irrigation.

18 The water measurement feature will  
19 incorporate a new software as a service product  
20 that integrates additional local and cloud-based  
21 data, infrared and thermal imagery, and  
22 irrigation models such as evapotranspiration,  
23 soil moisture monitoring, and regulated deficit  
24 irrigation. The system sends simple text  
25 messages directly to the growers and it contains

1 information about the status of their fields and  
2 makes recommendations for optimizing irrigation  
3 efficiency. This enables growers to implement  
4 strategies for reducing water use while having  
5 the safety net of knowing that their crops are  
6 not impacted.

7           This software as a service product will  
8 reduce energy and water use by 20 percent over  
9 current irrigation practices while maintaining or  
10 improving crop yields for almonds, pistachios,  
11 tomato and alfalfa. The reduction in water  
12 pumping costs will directly result in lower  
13 energy costs for agriculture ratepayers, and the  
14 reduction of canal water usage will reduce in  
15 further energy savings at the State level. This  
16 agreement can also reduce peak load during the  
17 summer.

18           This project term is 30 months, it will  
19 be deployed at five commercial farm sites, and  
20 match funding is \$535,568.

21           16b, ASETEC USA, Incorporated.  
22 Demonstration of low cost data center liquid  
23 cooling. This project will demonstrate the  
24 performance reliability and cost savings of  
25 liquid cooling technology that could cut Data

1 Center energy and be easily retrofitted with  
2 minimal operational disruptions during  
3 installation. Data Centers consume 2.2 percent  
4 of all electricity nationally and cooling  
5 accounts for about 40 percent of the Data Center  
6 electricity use.

7           ASETEK has developed a Data Center  
8 efficiency technology that bypasses chiller-based  
9 air-conditioning by bringing high performance  
10 liquid cooling to the hottest parts of the  
11 server, and then it dissipates that heat with a  
12 simple passive dry cooler. This technology will  
13 cut Data Center cooling energy by 60 to 80  
14 percent, cut server energy by five to 10 percent,  
15 and total Data Center peak load by 20 to 30  
16 percent.

17           The return on investment for this project  
18 is 12 months or less. Cutting statewide Data  
19 Center energy consumption by up to 30 percent  
20 would result in a total electricity savings of  
21 2,400 gigawatts annually and a greenhouse gas  
22 reduction of 700,000 tons a year. This project  
23 is 46 months and there are two demonstration  
24 sites. The match funding is \$1,519,738. We  
25 recommend approval of these grants and staff are

1 available if you have questions.

2           CHAIRMAN WEISENMILLER: Thank you. I was  
3 going to say one of the key parts to the  
4 Governor's Executive Order on water for the  
5 drought was the WET Program, and he has said that  
6 one of the reasons he did the Executive Order was  
7 this program, made him feel comfortable with  
8 reductions. And so we were sort of selected as  
9 the ones to do it and this is an example of some  
10 foreshadowing of the types of research we're  
11 trying to do with the WET Program, or actually  
12 not research, but commercialization we're trying  
13 to do. So anyway, it's always great to sort of  
14 see some foreshadowing of that program at this  
15 stage. So I think it's a great effort.

16           VICE CHAIR DOUGLAS: I agree, it's a  
17 pretty exciting project. So I'll move approval  
18 of Item 16.

19           COMMISSIONER MCALLISTER: I wanted just  
20 to chime in on (b) actually because that's an  
21 energy efficiency project on Data Centers, and we  
22 have a history of pushing the envelope on that  
23 technology in Data Centers because it is a heavy  
24 use, heavy part of our electricity load. I guess  
25 I did have one question here. You said that it

1 would cut server energy consumption by five to 10  
2 percent?

3 MS. MOHNEY: That's correct.

4 COMMISSIONER MCALLISTER: And was it Data  
5 Center electricity consumption by 20 to 30  
6 percent? Or was that peak load?

7 MS. MOHNEY: Peak load.

8 COMMISSIONER MCALLISTER: Peak load,  
9 okay, because those numbers were confusing to me,  
10 so I thought I would ask. Okay, so that's huge,  
11 peak reduction of that amount.

12 So I will second Item 16.

13 CHAIRMAN WEISENMILLER: All those in  
14 favor?

15 (Ayes.) So Item 16 passes 5-0. Thank  
16 you.

17 CHAIRMAN WEISENMILLER: Let's go on to  
18 Item 17, Demonstrating Clean Energy Solutions  
19 that support California Industries, the  
20 Environment, and Electrical Grid. Mark?

21 MS. VACCARO: Before we move forward with  
22 this, Chair, this is one, actually my mistake, I  
23 was thinking it was 19.

24 CHAIRMAN WEISENMILLER: Thanks for  
25 looking out, but, no, this one we're okay on.

1 Okay, go Mark.

2 MR. KOOSTRA: Good afternoon,  
3 Commissioners. My name is Mark Koostra, I'm with  
4 the Energy Research and Development Division.  
5 Staff requests the approval of Grant Agreements  
6 recommended for funding under EPIC solicitation,  
7 PON-14-307, Demonstrating Clean Energy Solutions  
8 that support California's Industries, the  
9 Environment, and the Electrical Grid.

10 This solicitation addresses the 2012-2014  
11 Triennial EPIC Investment Plan Strategic  
12 Objective, S13, demonstrate and evaluates  
13 emerging clean energy generation technologies and  
14 deployment strategies.

15 This solicitation received 22  
16 applications for demonstration and deployment  
17 projects, a pre-commercial community-scale  
18 electricity generation and innovative energy  
19 management strategies to minimize integration  
20 issues associated with local renewable  
21 integration and reduction in peak demands.

22 Funding was provided for two project  
23 groups, Group 1, demonstration sites located in  
24 disadvantaged communities by CalEnviroScreen 2.0.  
25 We received five proposals. In group 2,

1 Demonstration sites not wholly located in  
2 disadvantaged communities, we received 17  
3 proposals. Out of these 22 proposals, six  
4 received a passing score. Today we are  
5 recommending funding of four of those projects  
6 for a total award amount of nearly \$10 million  
7 and total match funding of approximately \$8.5  
8 million.

9           The first project is Sierra Institute for  
10 Community and the Environment, which plans to  
11 construct biomass-fired CHP plant for district  
12 heating at Plumas County's Health and Human  
13 Services facility, and the neighboring Feather  
14 River College Dormitories. The CHP system will  
15 be fueled by sustainably harvested forest  
16 biomass, delivered by an average of two to three  
17 trucks a week. The alternative disposal method  
18 for this fuel is often open pile burning. This  
19 system will provide 65 kilowatts of electrical  
20 output and 800 kilowatts of thermal output to  
21 provide heating to six different buildings during  
22 the local heating season, which is approximately  
23 eight months of the year.

24           This system will reduce peak electrical  
25 demand by approximately 300 kilowatts through

1 electricity generation and reduction in electric  
2 heating. And it will also reduce propane  
3 consumption by approximately 17,000 gallons each  
4 year.

5           The Northern Sierra Air Quality  
6 Management District expects this project to help  
7 reduce fine particulate matter emissions in  
8 Plumas County and help prevent the Quincy Area  
9 from being classified as a Federal Non-  
10 Containment Area for PM2.5.

11           As stated in their Letter of Support for  
12 the project, which is available at the entry  
13 table and in your packets, the project team is  
14 providing \$652,000 in match funding towards this  
15 project.

16           The second project, Prospect Silicon  
17 Valley with the Bay Area Climate Collaborative,  
18 will demonstrate a completely integrated solar PV  
19 storage and power electronics module, along with  
20 Community Grid Control Services using a novel and  
21 iterative energy approach. The integrated  
22 modules rated at one kilowatt of storage for each  
23 kilowatt of generation capacity, will provide an  
24 estimated 13 percent greater yield, minimize  
25 power variability, reduce conversion losses, and

1 reduce costs by an estimated 10 percent compared  
2 to conventional PV systems, with external battery  
3 storage.

4           The integrated DC generation and Energy  
5 Storage Modules will allow the system to capture  
6 a greater portion of the solar energy reaching  
7 the panels that would otherwise be lost due to  
8 minimum and maximum power requirements of typical  
9 inverters.

10           In addition to these modules, the project  
11 will demonstrate the internet of energy which  
12 will optimize and coordinate the onsite  
13 generation storage, energy efficiency measures  
14 and loads, to increase the value to the college  
15 and to the electricity grid. The project team  
16 plans to provide over \$2.3 million in match  
17 funding for this project.

18           ABEC #4 plans to develop a CHP system  
19 located in Bakersfield, California on a dairy to  
20 demonstrate a biogas-fueled combined heat and  
21 power generator using biogas from a covered  
22 lagoon digester. The one megawatt CHP system  
23 will generate enough heat to drive an absorption  
24 chiller for onsite milk cooling. Using onsite  
25 biogas storage, the CHP system will be able to

1 operate primarily during peak times and remain  
2 idle at night when the community demands are  
3 less.

4           This will be the first renewable CHP  
5 absorption chiller system to operate at a dairy  
6 and will represent a significant advance in dairy  
7 energy management. The project team is  
8 contributing nearly \$5 million in match funding  
9 for this project, sixty percent more than the  
10 amount of the grant.

11           The University of California at Davis,  
12 for the fourth project, will demonstrate the use  
13 of highly efficient solar modules using low cost  
14 materials, second life electric vehicle  
15 batteries, and a Microgrid controller system at  
16 an existing building in the Robert Mondavi  
17 Institute.

18           The proposed electrical energy storage  
19 system will provide a cost-effective and  
20 efficient energy storage solution for a community  
21 with multiple renewable generators. And the  
22 value proposition is further increased by the use  
23 of second life lithium ion electric vehicle  
24 batteries. Additionally, the Microgrid  
25 controller will control and optimize the local

1 resources to benefit the host site and  
2 electricity grid through frequency and voltage  
3 control, power balance and integrated energy  
4 management.

5           The project team plans to provide  
6 \$658,000 in match funding for this project.

7           I'd also like to note that the grant  
8 total in the agenda is incorrect; the total is  
9 actually \$1,238,491.00.

10           Each of these projects promises to  
11 address the issue with integrating increasing  
12 levels of community-scale distributed generation  
13 resources and innovative energy management  
14 strategies, and hopes to deliver an optimal  
15 pathway to help California achieve its renewable  
16 energy and greenhouse gas reduction goals, while  
17 also providing benefits to California Investor-  
18 Owned utility ratepayers consistent with EPIC  
19 guiding principles.

20           Staff recommends approval of each of  
21 these proposed projects in concurrence with  
22 staff's CEQA recommendations. I will be happy to  
23 address any questions you have and there are also  
24 some project representatives available on the  
25 line to answer questions, specifically the folks

1 from ABEC #4, they wished to be here in person to  
2 thank you for the awards, but had to leave given  
3 the timing. Please let me know if you have any  
4 questions. Thank you.

5 CHAIRMAN WEISENMILLER: Okay, thank you.  
6 Let's go to public comment. I think we have a  
7 number of comments on a, and we have more. So  
8 let's start with the Public Advisor.

9 MS. MATHEWS: Alana Mathews on behalf of  
10 Mark Mihevc, M-i-h-e-v-c. "The Plumas Board of  
11 Supervisors voted to file a Notice of Exemption  
12 according to the provisions of California Code of  
13 Regulations Section 15062. The Notice was filed  
14 out and recorded with the County Clerk; however,  
15 the Plumas Board of Supervisors has not voted to  
16 approve the project. This violates Section  
17 15062, Part B, and therefore their Notice of  
18 Exemption is invalid. Your Business staff's own  
19 CEQA determination cites Exemption Sections 15302  
20 and 15303. Section 15302, 'Replacement or  
21 Reconstruction requires the replacement or  
22 reconstruction of existing structures.' This  
23 biomass project is all new construction and no  
24 existing structures containing any type of energy  
25 system will be replaced or reconstructed. The

1 building site actually contains two antiquated  
2 morgues that will be demolished. Section 15302  
3 therefore is not applicable in this case.  
4 Section 15303, 'New Construction or Conversion of  
5 Small Structures,' suggests small structures.  
6 The biomass plant will be a 41-foot X 56-foot  
7 two-story structure containing a boiler, electric  
8 generator, and room for two eight ton bins of  
9 woodchips. Using these two exemptions, the  
10 Commission would also have to exempt a small coal  
11 or nuclear plant. Finally, Sierra Institute has  
12 not provided any pollution or emissions  
13 specifications from the boiler manufacturer.  
14 Isn't it the responsibility of the Energy  
15 Commission and CEQA to ensure this biomass boiler  
16 will not harm people and the environment? This  
17 boiler will be burning 3.2 to 6.4 tons of  
18 woodchips per day in direct vicinity of school  
19 children, college students, Plumas County  
20 workers, and residents. I respectfully suggest  
21 that this project be postponed until a full  
22 Environmental Impact Report be generated and  
23 provided. Thank you, Mr. Chairman. Mr. Mark  
24 Mihevc."

25 CHAIRMAN WEISENMILLER: Okay, thank you.

1 Let's take other public comments and then I'll  
2 ask the staff to respond. I have, I think, four  
3 parties on the line, so let's start with Sam  
4 Lundsmeier? Okay, so all the four servers, etc.,  
5 are all on that one call? Okay, so yeah, why  
6 don't we do that. Let's go on to 18. David?  
7 Yes, standby while they go forward.

8 MR. STOMS: Good afternoon. My name is  
9 David Stoms from the Energy Generation Research  
10 Office. This is the final Grant Agreement  
11 recommended for funding under EPIC solicitation,  
12 titled "Reduce the Environmental and Public  
13 Health Impacts of Electricity Generation." The  
14 other eight agreements were approved at the May  
15 Business Meeting.

16 The direct and indirect effects of  
17 renewable energy on wildlife and uncertainty  
18 about those effects can create obstacles for  
19 California to reach its statutory energy goals.  
20 The number of solar and wind energy projects in  
21 the state has reached a level where we can now  
22 begin to draw meaningful conclusions from this  
23 collective experience about the actual impacts  
24 and the success of ongoing mitigation efforts as  
25 part of an adaptive management process.

1 Under this proposed 44-month agreement,  
2 the U.S. Geological Survey would conduct a  
3 comprehensive review of past Environmental Impact  
4 Reports and mitigation plans for California  
5 Renewable Energy projects and compare the  
6 predicted with the actual results as a foundation  
7 for improving predictive accuracy.

8 Another pressing question is not just how  
9 many birds may be killed at an energy facility,  
10 but also what is the ecological significance of  
11 those fatalities to the stability of their  
12 populations. The project will use an innovative  
13 method to identify the source of dead birds for a  
14 few high profile species so that researchers can  
15 model the significance of these facilities.  
16 Researchers will use the results to produce a set  
17 of advanced decision support tools for renewable  
18 energy developers and regulatory agencies in  
19 California to reduce environmental barriers  
20 associated with permitting development and  
21 operation of renewable energy facilities.

22 The project contributes about \$1.6  
23 million in match funding and the American Wind  
24 Wildlife Institute, a partnership of leaders in  
25 the wind industry, wildlife management agencies,

1 and science and environmental organizations, will  
2 be one of the subcontractors as both the source  
3 and repository of the monitoring data from energy  
4 facilities for the project.

5 Staff recommends approval of the proposed  
6 agreement and I'd be happy to answer any  
7 questions.

8 CHAIRMAN WEISENMILLER: Thank you.

9 VICE CHAIR DOUGLAS: I'll just say I did  
10 get a briefing on this and a number of other  
11 unrelated EPIC projects, and I'm definitely  
12 supportive of this, so I will move approval of  
13 this item.

14 COMMISSIONER MCALLISTER: Second.

15 CHAIRMAN WEISENMILLER: All those in  
16 favor?

17 (Ayes.) This passes 5-0. Thank you,  
18 David.

19 CHAIRMAN WEISENMILLER: Any luck on the  
20 phone? Otherwise we're going to 19. Okay, so  
21 let's go to 19, Commissioner McAllister, yeah,  
22 we're going to carve out (a) and then we'll call  
23 you back for (b) and (c).

24 MS. VACCARO: I'm not certain that the  
25 disclosure was made on this, I think at the very

1 beginning of the meeting and you stated your  
2 relationship with the --

3 CHAIRMAN WEISENMILLER: Yeah.

4 MS. VACCARO: -- yeah, that's the part I  
5 didn't think was stated on the record, so that  
6 needs to be -- we only did it as to the U.C.  
7 Davis, not the issue with respect to 19(a).

8 COMMISSIONER MCALLISTER: I did recuse  
9 myself, but it's because the prime on this is my  
10 former employer immediately before I came to the  
11 Commission, so I'm conflicted out and I will step  
12 out.

13 CHAIRMAN WEISENMILLER: Thank you. Hi,  
14 so we'll start on 19(a).

15 MR. GONZALEZ: Good afternoon,  
16 Commissioners. My name is Rey Gonzalez. I'm the  
17 Staff Technical Lead for Transportation Research  
18 in the Energy Generation Research Office of the  
19 Research and Development Division.

20 Staff is seeking approval of three  
21 projects elected from a competitive solicitation,  
22 Program Opportunity Notice 14310 was released  
23 December 18, 2014 for the purpose of funding  
24 Applied Research and Development projects that  
25 will advance technologies and develop strategies

1 for Smart and efficient Plug-In Electric Vehicle  
2 Charging, and Vehicle to Grid Communication  
3 Technologies to provide maximum benefits to the  
4 Electricity Grid and the Plug-In Electric Vehicle  
5 market.

6 As the California Electric Vehicle market  
7 continues to grow, unmanaged charging to these  
8 vehicles could lead to an increase in electrical  
9 peak demand. Technologies and strategies are  
10 therefore needed to encourage Plug-In Electric  
11 Vehicle drivers to charge during off-peak,  
12 particularly when Grid demand is low, or when  
13 renewable resources are abundant.

14 The solicitation sought projects that  
15 investigate and pilot strategies that better  
16 utilize Smart Charging, incorporating factors  
17 such as time of use rates, and demand side  
18 management beyond the current state of  
19 technology.

20 The research focus of the solicitation is  
21 consistent with strategic objective S9 in the  
22 first EPIC Investment Plan, which calls for  
23 advancing technologies and strategies that  
24 optimize benefits for Plug-In Electric Vehicles,  
25 and the Electricity Grid.

1 Submitted proposals were scored  
2 individually and ranked based on the scoring  
3 criteria listed in the solicitation. Of the 25  
4 proposals received, 20 proposals received a  
5 passing score. The three projects for  
6 consideration today total approximately \$4.5  
7 million and approximately \$1 million in match  
8 funding, and these projects were included in a  
9 Notice of Proposed Award posted on March 16,  
10 2015.

11 Item (a) is an Agreement with the Center  
12 for Sustainable Energy, who proposes to develop a  
13 Standards-based Scalable Solution for Smart  
14 Charging in California, incorporating an  
15 internationally recognized standard. The project  
16 will develop a demand clearing house or a central  
17 server concept that can translate common utility  
18 Smart grid protocols into tariff tables that  
19 compatible Plug-In Electric Vehicles can respond  
20 to. Benefits of this research include greater  
21 electricity reliability and lower cost by using  
22 an open protocol, and better managing of the  
23 Plug-In Electric Vehicle electric loads.

24 The Center for Sustainable Energy has  
25 partnered with KN Grid, U.C. San Diego, with

1 support from San Diego Gas and Electric, Siemens,  
2 and the California Independent System Operator.  
3 Staff is seeking approval of this item and I can  
4 answer questions at this time.

5 CHAIRMAN WEISENMILLER: Thank you. So  
6 Commissioners, let's address Item (a). Any  
7 questions or comments?

8 VICE CHAIR DOUGLAS: No, I'll move  
9 approval of Item (a).

10 COMMISSIONER SCOTT: Second.

11 CHAIRMAN WEISENMILLER: All those in  
12 favor?

13 (Ayes.) This passes 4-0. I'm waiting  
14 for Commissioner McAllister to come back.

15 Okay, Ray, do you want to start on (b)  
16 and (c)?

17 MR. GONZALEZ: Okay, for consideration,  
18 Item 19(b) is an Agreement with ChargePoint, Inc.  
19 who proposes to develop a technology that  
20 combines Advanced Smart Charging technology with  
21 Cloud-based communication to enhance  
22 communication between Electric Vehicles, the  
23 Electricity Grid, and residential charging  
24 stations. While charging scenarios estimate  
25 residential charging to account for as much as 80

1 percent of all charging, there is significant  
2 opportunity to transform residential charging  
3 from a static or unmanaged load, to a dynamic  
4 management tool that can enhance the distribution  
5 grid while meeting PV or Plug-In Electric Vehicle  
6 driver needs.

7           This project will develop a grid vehicle  
8 charging station connectivity methodology that  
9 assesses the real time potential for residential  
10 Smart Chargers to respond to utility signaling  
11 for Grid stabilization. ChargePoint is partnered  
12 with Lawrence Berkeley National Lab, BMW, and San  
13 Diego Gas & Electric.

14           Also for consideration is Item 19(c), an  
15 agreement with Electric Power Research Institute  
16 who proposes to develop a Vehicle2Grid (V2G)  
17 communication system that will demonstrate grid  
18 awareness, self-regulation, and interoperability.  
19 There is a great potential for Plug-In Electric  
20 Vehicles to not only improve the environmental  
21 impacts of transportation mobility, but to help  
22 reduce Grid stress and improve reliability. But  
23 for Plug-In Electric Vehicles to participate as  
24 distributed energy resources, data communication  
25 represents a significant barrier to Vehicle2Grid

1 inclusion into distribution and Independent  
2 System Operator Grid Services. This project  
3 responds to the need for communication technology  
4 and interfaces to support Vehicle2Grid  
5 information processing to better leverage Plug-In  
6 Electric Vehicles and improve renewable  
7 generation penetration. Electric Power Research  
8 Institute is partnered with Clean Fuel  
9 Connections, AeroVironment, and Grid2Home, Inc.

10 Staff recommends approval of these two  
11 items and I can answer questions at this time.

12 CHAIRMAN WEISENMILLER: Great. Thank  
13 you. I would note that one of the feedback items  
14 Commissioner Scott and I both heard yesterday  
15 was, as you're trying to make sure people  
16 actually are connecting and monitoring and  
17 basically the sort of saga of getting a note  
18 saying you can go charge here and discover you go  
19 there it's broken, you go on to the next one and  
20 it's broken, so as we're trying to deal with sort  
21 of the whiz bang connecting to the Grid,  
22 ancillary services markets, and everything else,  
23 we also have to make sure that the stupid things  
24 are working and the feedback is in that loop.  
25 Right?

1           COMMISSIONER MCALLISTER:  Yeah, I mean,  
2 both of these, but particularly (b), I think, is  
3 super important.  We really need to know how far  
4 we can push the Vehicle2Grid stuff, to know what  
5 else we have to do to kind of shore that up, is  
6 it going to be a big piece of the solution?  Or a  
7 small piece of the solution?  And I like the fact  
8 that, you know, it's asking the right questions,  
9 you know, how is this going to work in practice?  
10 And how much people want it and sort of tracking  
11 how much it actually happens and what the  
12 potential of it is.  I think that's super  
13 important.  If it's a big deal, then it's good to  
14 know that; if it's not, then we need to know  
15 that, too, so we can go figure out what else to  
16 do in terms of getting those Grid reliability  
17 resources on line and where that boundary lays is  
18 important.  So I'm very supportive of this  
19 project, both of these projects.

20           I've move 19(b) and (c).

21           COMMISSIONER SCOTT:  Second.

22           CHAIRMAN WEISENMILLER:  All those in  
23 favor?

24           (Ayes.)  This passes 5-0.

25           CHAIRMAN WEISENMILLER:  I'm assuming

1 we're going to go straight to 20 now while we  
2 work on the telephone issues.

3 MR. SETHI: Good afternoon,  
4 Commissioners. My name is Prab Sethi and I am a  
5 Senior Mechanical Engineer in the Energy  
6 Generation Research Office. The Electric Power  
7 Research Institute Project was selected for an  
8 award of \$1,705,478 under competitive  
9 solicitation, PON-14-303 for the project group  
10 Advanced Inverters. This project will evaluate  
11 Advanced Inverter functions with the specific  
12 goal of higher penetration of PV on the Grid.  
13 The Smart Inverters will be tested in the lab and  
14 subsequently in the field to analyze the  
15 functions identified in California Public  
16 Utilities Commission's Rule 21 for  
17 Interconnections.

18 The valuation will include resolution of  
19 local PV system limitations such as old voltage,  
20 voltage variability, and overloading of  
21 transformers that occur when multiple PV systems  
22 are installed on the same residential  
23 transformer.

24 The project will involve multiple small  
25 inverters and other residential distributed

1 energy resources, for example, Smart thermostats,  
2 water heaters, pool pumps, and Smart Electric  
3 Vehicle chargers, and will consist of six to 10  
4 homes sharing the same distribution transformer.  
5 This project will result in increasing the hosted  
6 kilowatt hour production of residential systems  
7 by 15 percent.

8 I request approval of this Agreement.

9 CHAIRMAN WEISENMILLER: Thank you.  
10 Commissioners, any questions or comments?

11 VICE CHAIR DOUGLAS: No, I move approval.

12 COMMISSIONER HOCHSCHILD: Second.

13 CHAIRMAN WEISENMILLER: All those in  
14 favor?

15 (Ayes.) Thank you. This passes 5-0.

16 CHAIRMAN WEISENMILLER: Let's go on to  
17 Item 21.

18 MR. UY: Good afternoon, Commissioners.  
19 My name is Kevin Uy from the Energy Generation  
20 Research Office in the Research and Development  
21 Division. Staff is seeking approval of seven  
22 projects from the Competitive Solicitation  
23 Program Opportunity Notice 14505, Advancing Clean  
24 Energy from Biogas, Biomethane, and Natural Gas.

25 This solicitation sought proposals to

1 fund research development and demonstration  
2 projects that address the barriers to increased  
3 market penetration of renewable energy,  
4 particularly biogas, renewable natural gas, and  
5 natural gas fuel distributed generation, and  
6 combined heat and power systems.

7           Seven projects are recommended for  
8 funding, of which four take place in Southern  
9 California.

10           The first project is with the Gas  
11 Technology Institute, who will develop and  
12 demonstrate a 25 kilowatt Low-Emission  
13 Reciprocating Engine-Based Combined Cooling Heat  
14 and Power System. This system will first be  
15 tested in a laboratory to verify compliance to  
16 California Air Resource Board Standards. The  
17 system will then be demonstrated at the SoCal Gas  
18 Energy Resource Center in Downey, California,  
19 which is an Advanced Energy Technology Showcase  
20 Center open to the public. Once the combined  
21 cooling heat and power system is installed and  
22 operating, a kiosk and interactive web page will  
23 be available where plots of the system's  
24 operation can be observed.

25           The second project is also with the Gas

1 Technology Institute, who will develop and  
2 demonstrate a Novel Biogas Cleanup Technology for  
3 Converting Biogas into Renewable Natural Gas.  
4 The system will first be tested in a laboratory  
5 where various solvents will be evaluated for  
6 their effectiveness in removing contaminants from  
7 biogas. The system will then be demonstrated at  
8 the Otay Landfill in Chula Vista, California,  
9 where landfilled gas will be converted into  
10 renewable natural gas and fed into an existing  
11 onsite generator.

12           The third project is with the Las  
13 Gallinas Valley Sanitary District, who will  
14 Install and Operate a Biogas Energy Recovery  
15 System at their Wastewater Treatment Plant in San  
16 Rafael, California. The system will utilize  
17 digester biogas to produce power heat and vehicle  
18 fuel for onsite use, and will consist of a biogas  
19 cleanup and conditioning system, micro turbines,  
20 and a renewable natural gas refueling station.  
21 In addition, all fleet vehicles at the waste  
22 water treatment plant will be converted from  
23 diesel to natural gas.

24           The fourth project is with Mosaic  
25 Materials who will Develop and Demonstrate New

1 Sorbent Materials for Upgrading Biogas into  
2 Renewable Natural Gas. The materials will first  
3 be tested in a laboratory where various solid  
4 state amine appended metal organic frameworks  
5 will be synthesized and characterized, and their  
6 ability to remove carbon dioxide from biogas will  
7 be assessed. The most promising material will be  
8 selected for a prototype unit to be demonstrated  
9 at the Inland Empire's Utility Agency Regional  
10 Wastewater Recycling Plant in Ontario,  
11 California, where digester gas will be  
12 conditioned, then fed to an existing onsite  
13 generator.

14           The fifth project is with Biogas Energy  
15 who will Research and Develop a Best Practices  
16 Manual for Operating Food Waste Anaerobic  
17 Digesters to maximize biogas yield by performing  
18 feedstock analysis, nutrient analysis, and  
19 micronutrient analysis. Testing will first be  
20 performed on a pilot scale biodigester located at  
21 the California State University Chico campus in  
22 Chico, California.

23           The lessons learned will then be applied  
24 to a commercial-scale food waste digester at  
25 North State Rendering in Oroville, California,

1 and a Best Practices Manual will be produced  
2 which other food waste digester operators can  
3 use. In addition, a feasibility study will be  
4 performed, including financial modeling for  
5 upgrading digester biogas into renewable natural  
6 gas, and injecting into the natural gas pipeline.

7           The sixth project is with the University  
8 of California San Diego who will develop and  
9 demonstrate conversion of woody biomass into  
10 renewable natural gas. The demonstration will  
11 take place at the Woodland Biomass Resource  
12 Center in Woodland, California, where woody  
13 biomass will be converted via an existing  
14 fluidized bed Gasifier into producer gas. New  
15 methods for cleaning this producer gas will be  
16 tested and the new fluidized bed Methanation  
17 reactor will be built and tested for cleaning the  
18 producer gas into renewable natural gas.

19           In addition, economic and feasibility  
20 analysis will be performed for a full scale woody  
21 biomass to renewable natural gas pipeline  
22 injection facility using the test results  
23 obtained.

24           The final project is with the Electric  
25 Power Research Institute who will install and

1 operate an organic rankine cycle based  
2 distributed generator at the American Apparel  
3 Textile Dying plant in Hawthorne, California.  
4 The system will utilize waste heat from  
5 industrial driers to produce electricity for  
6 onsite use. Staff recommends funding of these  
7 agreements and are available if you have any  
8 questions. And in addition, a representative  
9 from the Las Gallinas Valley Sanitary District is  
10 here to speak on behalf of the project.

11 CHAIRMAN WEISENMILLER: Please. Come to  
12 the dais. This is Mr. Mark Williams?

13 MR. WILLIAMS: Yes.

14 CHAIRMAN WEISENMILLER: Please.

15 MR. WILLIAMS: I am the General Manager  
16 with Las Gallinas Valley Sanitary District. And  
17 on behalf of the Las Gallinas Valley Sanitary  
18 District, 30,000 ratepayers, our Board, and  
19 staff, we would like to thank the Commission for  
20 considering the District for a grant. Our biogas  
21 project will replace an existing 50 KW generator  
22 that can no longer be operated after 2016. It  
23 also will use technology, micro turbines, which  
24 will burn cleaner than the existing generator we  
25 have. We will be initially converting two of our

1 large fleet vehicles to biogas and the system  
2 will complement our 850 kilowatt per year  
3 photovoltaic system. It will reduce or eliminate  
4 the current practice of burning excess biogas,  
5 provides a future pathway to increased biogas  
6 usage for our other vehicles, will increase our  
7 future power generation ability, and provides an  
8 example for other small agencies to utilize  
9 biogas that is typically wasted. I think this is  
10 a large unharnessed energy source that is just  
11 being ignored. As you go through Marin, most of  
12 the wastewater agencies just burn their gas, and  
13 even the Redwood Landfill burns its gas. So this  
14 is a resource that really should be taken  
15 advantage of. Thank you.

16 CHAIRMAN WEISENMILLER: No, thank you. I  
17 mean, one of the things we have to start dealing  
18 with is methane emissions, you know, in terms of  
19 looking at the overall greenhouse gas issues, the  
20 very potent greenhouse gas. And we look a lot at  
21 natural gas system, but at the same time when you  
22 look at Ag, landfills, I mean, it could well be  
23 much larger than the natural gas system, so  
24 trying to convert that to a fuel is really  
25 critical moving forward. So certainly these are

1 exciting projects and we appreciate you being  
2 here.

3 MR. WILLIAMS: The other component is  
4 that the wastewater industry does have capacity  
5 in their digesters, and so putting food to waste  
6 projects in place really is the future, I  
7 believe.

8 CHAIRMAN WEISENMILLER: Well, great.  
9 Thanks a lot for coming here.

10 COMMISSIONER SCOTT: Can I also just say  
11 thank you so much for joining us, and I was  
12 interested to see that this project will take the  
13 biogas and put it into your transportation fleet,  
14 which I think is very exciting. And I was happy  
15 to hear you mention that you want to make that an  
16 example for other wastewater treatment folks, and  
17 so I hope that you guys will be also putting  
18 together some materials or briefings or be  
19 willing to talk to the other districts to share  
20 what you've learned.

21 MR. WILLIAMS: Definitely, we will be  
22 doing that.

23 CHAIRMAN WEISENMILLER: A motion?

24 COMMISSIONER SCOTT: I will move approval  
25 of Item 21.

1 COMMISSIONER MCALLISTER: Second.

2 CHAIRMAN WEISENMILLER: All in favor?

3 (Ayes.) Item 21 passes 4-0.

4 CHAIRMAN WEISENMILLER: So in terms of  
5 what we're doing at this stage, I'd like to cover  
6 22, 23, 17, and Public Comment, which is 29, and  
7 then we'll go all to the event and come back.

8 But at least we'll allow the public members who  
9 are here for the hearing to go through stuff.

10 So it looks like we're on CalSTART, Item  
11 22.

12 MS. CHEUNG-SUTTON: Good afternoon. My  
13 name is Elyse Cheung-Sutton from the Fuels and  
14 Transportation Division, Emerging Fuels and  
15 Technologies Office. I'm presented Agreement  
16 ARV-14-061 for the possible approval for  
17 CALSTART, Inc. to launch, manage, and sustain the  
18 San Joaquin Valley Clean Transportation Center.  
19 This grant is for \$1,194,659 and will be matched  
20 with \$200,000.

21 Under this agreement, CALSTART will  
22 create two physical center locations in Fresno  
23 and in Parlier and one virtual location.  
24 CALSTART will also hire a Center Director,  
25 convene an Advisory Committee, conduct outreach

1 and educational activities, provide fleet  
2 analyses, coordinate workforce development, and  
3 work to secure additional funding for alternative  
4 fuel infrastructure and vehicles in the San  
5 Joaquin Valley.

6           The goal of the Centers will be to  
7 increase the acceptance and deployment of  
8 Alternative Fuel Vehicles and Technologies and to  
9 address barriers that hinder uptick such as lack  
10 of resources and misconceptions regarding cost  
11 and efficiency.

12           The Center will serve as a central  
13 location for engaging collaborations between  
14 OEMs, technology partners, project developers,  
15 and state and county agencies, and for developing  
16 public and private investment in the deployment  
17 of advanced vehicles and fuel technologies. This  
18 effort is in support of California's commitment  
19 to 1.5 ZEVs on the road by 2025, and the  
20 reduction of greenhouse gas emissions to 1990  
21 levels by 2020. Furthermore, both physical  
22 locations will be created in existing facilities  
23 in disadvantaged communities in the San Joaquin  
24 Valley, which will provide both economic and  
25 environmental benefits. The Director of the San

1 Joaquin Valley Clean Transportation Center will  
2 be located in the San Joaquin Valley, and project  
3 activities will utilize local companies and  
4 workers as much as possible. The focus of this  
5 project is to increase the uptick of high  
6 efficiency, low emission fuel and vehicle  
7 technologies in the San Joaquin Valley, which  
8 experiences some of the worst air pollution in  
9 the country.

10 Any progress made through the San Joaquin  
11 Valley Clean Transportation Center will  
12 contribute to the region and the State's air  
13 quality improvement goals. Thank you for your  
14 consideration of this item and I and John Boesel,  
15 who should be on the phone, are available for  
16 questions. Thank you.

17 CHAIRMAN WEISENMILLER: Great. John, do  
18 you want to say anything? Commissioners, any  
19 questions or comments?

20 COMMISSIONER SCOTT: Just a comment,  
21 which is the staff worked really hard to do some  
22 good geographical diversity with the Centers, we  
23 did one in Northern California and one in  
24 Southern California, and one in the Central  
25 Valley, and so I just wanted to point that out.

1 We worked really hard to make sure that we could  
2 get a center in the Central Valley, so I'm  
3 excited to recommend this for your approval  
4 today. If there's no other, I'll move Item 22.

5 VICE CHAIR DOUGLAS: Second.

6 CHAIRMAN WEISENMILLER: All those in  
7 favor?

8 (Ayes.) This passes 4-0.

9 CHAIRMAN WEISENMILLER: Let's go on to  
10 Item 23.

11 MR. TANIMOTO: Good afternoon, Chair and  
12 Commissioners. My name is Lindsee Tanimoto and  
13 I'm with the Emerging Fuels and Technology Office  
14 in the Fuels and Transportation Division. Staff  
15 is seeking the approval of three projects today  
16 from the Notice of Proposed awards published on  
17 May 1st, 2015. These Regional and Local Planning  
18 grants will address Plug-In Electric Vehicles.  
19 The three recipients are located throughout  
20 California. And the total amount of proposed  
21 funding is \$353,005.

22 The City of Oakland will address  
23 permitting and the inspections of Electric  
24 Vehicle Charging Stations for their disadvantaged  
25 communities, as well as for the City of Tiburon.

1 The City of Palm Springs will promote the  
2 deployment of PEVs by installing directional and  
3 informational science, along with informational  
4 kiosks that will be located in tourist sites.

5 And finally, the Southern California  
6 Association of Governments will implement best  
7 practice strategies for their Electric Vehicle  
8 Charging Stations located at multi-unit dwellings  
9 in the Cities located in West Los Angeles.

10 Staff is seeking your approval for the  
11 resolutions listed as Items 23a through c. Thank  
12 you for your consideration on these plans. I am  
13 available to answer any questions you may have.

14 CHAIRMAN WEISENMILLER: Great. Thank  
15 you. Any -

16 COMMISSIONER SCOTT: I'll move approval  
17 of Item 23.

18 VICE CHAIR DOUGLAS: Second.

19 CHAIRMAN WEISENMILLER: All those in  
20 favor?

21 (Ayes.) So Item 23 is approved 5-0.

22 CHAIRMAN WEISENMILLER: First public  
23 comment. Any public comment?

24 So let's go to Item 17. On Item 17(a),  
25 we're still having some technical issues, so

1 we're going to deal with (b), (c) and (d) now,  
2 and we'll hold 17(a) open while the technical  
3 issues are dealt with. And then we'll come back  
4 and deal with (a) and the others. So 17(b)(c)  
5 and (d)? Any questions or comments?

6 VICE CHAIR DOUGLAS: I'll just make a  
7 brief comment, which is that I do know that Item  
8 17(a) has a lot of support in the Sierra Nevada  
9 Region, and I think that had the phone lines been  
10 working, we would have heard from some number of  
11 -- and hopefully we'll hear from them, okay,  
12 good.

13 CHAIRMAN WEISENMILLER: And we had lost  
14 -- we now have them all on one conference call,  
15 but we can't feed it into this room. So that's  
16 what we're now trying to resolve. Otherwise we  
17 might get emails comments from them that will be  
18 read into the record.

19 So anyway, so (a), let's hold the  
20 comments on (a) until we get back. But any  
21 comments on (b), (c) and (d)? Or a motion?

22 VICE CHAIR DOUGLAS: Move approval of  
23 Item 17 (b), (c) and (d).

24 COMMISSIONER MCALLISTER: I'll second  
25 those three.

1                   CHAIRMAN WEISENMILLER:   Okay, all those  
2 in favor?

3                   (Ayes.)    So this passes 4-0.  We're going  
4 to recess.  Certainly those of you in here are  
5 welcome to stay in here, we're going to have the  
6 ceremony in here in a couple minutes, but then  
7 we're going to come back and deal with 17(a),  
8 hopefully, and 24, 25, 26, 27 and 28.  Okay?  
9 Thanks.

10   (Recess at 4:41 p.m.)

11   (Reconvene at 5:23 p.m)

12                   CHAIRMAN WEISENMILLER:  Let's first  
13 address 17(a) and then we'll deal with the rest  
14 of the agenda.  So are we in communication now --?

15                   MS. MATTHEWS:  I understand that we --  
16 I'm Alana Matthews, Public Advisor -- I  
17 understand that we had some communication, not  
18 everyone was on the line, but they were  
19 comfortable with me reading the comments that  
20 they have submitted, so that's what I'm prepared  
21 to do right now.

22                   CHAIRMAN WEISENMILLER:  Thank you.

23                   MS. MATTHEWS:  On behalf of Jonathan  
24 Kusel, K-u-s-e-l, "Our project has enjoyed  
25 widespread support.  That is why representatives

1 from the U.S. Forest Service, a member of the  
2 Plumas County Board of Supervisors, Lori Simpson,  
3 two representatives from the Northern Sierra Air  
4 Quality Management District, which also provided  
5 formal public comment, Plumas County Building  
6 Department, have been on for hours to support and  
7 comment on this project. There has been one  
8 individual who has objected to this project from  
9 the start, and that has not changed.”

10           And on behalf of the Northern Sierra Air  
11 Quality Management District, this is submitted by  
12 Gretchen Bennitt, B-e-n-n-i-t-t, “The Northern  
13 Sierra Air Quality Management District supports  
14 the proposed biomass combined heat and power CHP  
15 and District Energy Facility proposed for the  
16 Plumas County Health and Human Services Facility.  
17 This CHP facility will offer a critical solution  
18 to reducing smoke emissions from forest biomass  
19 that would otherwise be burned in an uncontrolled  
20 manner in Plumas County.

21           The District has begun working with the  
22 Sierra Institute concerning permitting  
23 requirements for this proposed facility and the  
24 District will continue to work with the Sierra  
25 Institute to ensure that all air quality

1 requirements are met. Based upon the District's  
2 preliminary analysis, the anticipated long term  
3 emissions from the biomass boiler are 930.5  
4 pounds of particulate matter per year. This is  
5 equivalent to 6.4 non-catalytic wood stoves based  
6 on the 1988 to 2015 EPA Wood Stove Certification  
7 Standards. Nitrogen Oxides are the pollutant  
8 emitted in the greatest concentration estimated  
9 at around 1.4 tons per year. This is well below  
10 the approximately 25 ton per year of significant  
11 impact threshold listed in the District's Land  
12 Use Guidelines. Emissions of air toxics are  
13 projected to be well below levels of concern.  
14 The District supports this facility and concepts  
15 as it plans to utilize biomass as a fuel in a  
16 controlled combustion process, reducing emissions  
17 of particulate matter, and other pollutants up to  
18 98 percent, as compared to open pile burning  
19 biomass. Fine particulate matter, PM2.5, is the  
20 main pollutant of concern in Plumas County since  
21 two locations in the County, Portola and Quincy,  
22 have historically exceeded the National Ambient  
23 Air Quality Standard for PM2.5. The greater  
24 Portola area has been designated as a Federal  
25 PM2.5 Non-Attainment Area, and the EPA has

1 recently informed the District that the Portola  
2 Area is one of the top five most polluted areas  
3 in the nation relative to annual average PM2.5  
4 Standards. The Quincy area, the area in which  
5 the boiler is proposed, has air quality monitors  
6 which have demonstrated increasing amounts of  
7 ambient PM2.5 in the past three years. The Air  
8 District is concerned that the Quincy area could  
9 also be designated a Federal Nonattainment Area  
10 for PM2.5 if emission reductions are not  
11 implemented. The three major sources  
12 contributing to the PM2.5 emissions in Plumas  
13 County are wood stoves, open pile burning of  
14 residential yard waste, and prescribed burning of  
15 forest biomass. The Air District is especially  
16 enthusiastic about the Sierra Institute's plans  
17 to collect biomass from the Plumas County Fire  
18 Safe Council and other local entities to use its  
19 fuel in the boiler. Increased biomass  
20 utilization is critical to the attainment of the  
21 Federal Air Quality Standard in Plumas County.  
22 The proposed CHP in Quincy has a potential to be  
23 a prototype for demonstrating a viable  
24 alternative for burning yard waste and porous  
25 biomass and can play a crucial role in reducing

1 the PM2.5 emissions from open burning in Plumas  
2 County. Sincerely, Gretchen Bennitt, Executive  
3 Director, Northern Sierra Air Quality Management  
4 District."

5 CHAIRMAN WEISENMILLER: Thank you. There  
6 were specific issues raised by the one member of  
7 the public in terms of the adequacy of our CEQA  
8 review. Well, let me ask a general question.  
9 Does staff have responses to that, to the issues  
10 he raised, including the CEQA issues?

11 MR. KOOSTRA: Yeah, I would like to defer  
12 to Samantha Arens, our legal counsel, on those  
13 items.

14 MS. ARENS: This is Samantha Arens with  
15 the Chief Counsel's Office. Regarding the first  
16 issue that Mr. Mihevc raised, the timing of  
17 Plumas County's filing of a Notice of Exemption,  
18 the Energy Commission performs an independent  
19 CEQA analysis and considers a project for  
20 approval, and that analysis and consideration is  
21 distinct from the County's process.

22 Regarding the applicability of California  
23 Code of Regulations, Title 14, Sections 15302 and  
24 15303, staff has provided an explanation of the  
25 applicability of the exemptions and that can be

1 found in the backup materials for this agenda  
2 item in the CEQA Compliance Section of the Grant  
3 Request Form.

4           Specifically, Section 15302 involves the  
5 replacement of existing structures. Staff has  
6 determined that the proposed project will replace  
7 an existing heat generation and distribution  
8 system with a new heat generation and  
9 distribution system. Staff's analysis explains  
10 that there are existing heat pumps and electric  
11 boiler and propane fired wall heaters that will  
12 be replaced with a new biomass fired boiler  
13 paired with a commercial generator and new heat  
14 pumps.

15           Additionally, staff's analysis has  
16 determined that the replacement system will  
17 result in negligible or no expansion of heating  
18 capacity. So for those reasons, as set forth in  
19 the grant request form, the proposed project fits  
20 squarely within the categorical exemption  
21 specified in 14 CCR 15302(c). As to 15303, that  
22 section involves the new construction of small  
23 structures. Based on staff's analysis, the  
24 proposed project does fit squarely within the  
25 examples given in this section; for example,

1 15303(c) states that stores, motels and  
2 restaurants not involving the use of significant  
3 amounts of hazardous substances and not exceeding  
4 2,500 square feet are exempt. Other examples  
5 given in that section of exempt small structures  
6 include multi-family residential structures and  
7 staff has explained, as they detail in the grant  
8 request form, that the proposed project will be a  
9 maximum of 2,400 square feet, and does not  
10 involve the use of any hazardous substances.  
11 This is well within the size of structures and  
12 the definitions of examples of projects that are  
13 exempt under 15302.

14           Regarding what Mr. Mihevc claims are  
15 antiquated morgues that will be demolished, the  
16 application to our solicitation did not describe  
17 demolition of existing structures, nor does the  
18 proposed grant that is now before the Commission  
19 cover demolition of existing structures, and that  
20 will not be a part of this project.

21           Lastly, regarding the comment on  
22 pollution and emissions, I think the comment that  
23 the Public Advisor just read into the record, as  
24 well as the June 6th letter from the Northern  
25 Sierra Air Quality Management District which

1 covers Plumas County, addresses those concerns.  
2 In summary, that letter states that smoke  
3 emissions will be reduced. The proposed project  
4 could play a crucial role in reducing PM2.5, help  
5 reach attainment of Federal Air Quality  
6 Standards, NOx or Nitrogen Oxide will be well  
7 below the significant impact threshold, and that  
8 air toxics are projected to be well below levels  
9 of concern. Thank you.

10 CHAIRMAN WEISENMILLER: Thank you.

11 Commissioners, any questions or comments?

12 VICE CHAIR DOUGLAS: I started to say  
13 earlier and I'll just repeat very briefly now, I  
14 have looked a bit at this project and I've  
15 observed that it has very strong support, people  
16 are pretty excited about it as I think the  
17 comments the Public Advisor read indicated, and  
18 so I definitely look forward to supporting it.

19 Are there other comments?

20 I'll move approval of this item.

21 COMMISSIONER MCALLISTER: I'll second.

22 CHAIRMAN WEISENMILLER: All those in  
23 favor?

24 (Ayes.) This passes 5-0. Thank you.

25 CHAIRMAN WEISENMILLER: Let's go on to

1 the Minutes, Item 24. These are May 13th. For  
2 the record, that was just 17(a), we've already  
3 voted on (b), (c) and (d), right? So Minutes?

4 COMMISSIONER SCOTT: I'll move approval  
5 of the Minutes.

6 COMMISSIONER MCALLISTER: Second.

7 CHAIRMAN WEISENMILLER: All in favor?

8 (Ayes.) The Minutes pass 5-0.

9 CHAIRMAN WEISENMILLER: Lead Commissioner  
10 and Presiding Member Reports. Commissioner  
11 Scott.

12 COMMISSIONER SCOTT: Great. I just have  
13 two quick things. I'll try to take less than two  
14 minutes. One is that yesterday the State  
15 Treasurer and I announced the Loan Loss Reserve  
16 Program that we put in place for the Electric  
17 Vehicle Charging. We voted on that a couple  
18 Business Meetings ago, it had to go through their  
19 process, as well, and now it's ready to go, it's  
20 up and running. And it's exciting because it's  
21 under AB 8 and AB 118, the Energy Commission is  
22 able to use additional funding mechanisms beyond  
23 grants. And this is one of the first times that  
24 we've looked at one of those other funding  
25 mechanisms, and it will also potentially bring in

1 a set of small businesses and other folks who  
2 might not necessarily apply under one of our  
3 Program Opportunity Notices to do a whole bunch  
4 of chargers, but they might want to just, when  
5 they're doing business improvements include a  
6 charger, and then this program gives them an  
7 opportunity to do that. So I'm excited that  
8 that's across the finish line announced  
9 yesterday.

10 And I will also just remind you all that  
11 my new Advisor, Courtney Smith, is here, she  
12 started on Monday, and I just wanted to warmly  
13 welcome her to the Energy Commission.

14 COMMISSIONER MCALLISTER: Nice, that  
15 program, I remember the Business Meeting we voted  
16 it and there was just so much enthusiasm about  
17 it, so hopefully it hits the ground running.

18 I'm going to be brief, as well. I've  
19 been traveling a little bit and, in particular,  
20 last week gave a talk down at the Association of  
21 Energy Engineers, West Coast Energy Congress, and  
22 that's an organization that sort of -- they're  
23 not all PEs, but many of them are Professional  
24 Engineers and they run a series of programs to  
25 provide the CEM, Certified Energy Manager

1 credential among a bunch of other credentials, so  
2 it's quite a good attendance of a relevant  
3 population and I got good feedback and hopefully  
4 we'll get many of their members engaged in our  
5 processes and that will be very positive.

6           And I wanted also to mention a couple of  
7 new staff that I have in my office. I don't  
8 think I did this last meeting, but Charles Smith,  
9 who was at Fuels and Transportation Division, is  
10 working with me on the IEPR, which is really  
11 tremendously helpful, so welcome to him, and  
12 Christian Morevia, who is an intern in my office,  
13 is almost finished with his PhD in Electrical  
14 Engineering at U.C. Davis. He is also with me at  
15 least for the summer, we're not quite sure. It's  
16 great to have him and his public service  
17 inclinations are terrific.

18           And then finally, I just wanted to, you  
19 know, we have a little bit of historical  
20 reminiscing going on today and I think it's  
21 really fabulous to just think about the impact  
22 that we've had and how we can expand it going  
23 forward and keep that momentum going, and just  
24 really keep the Commission current and realizing  
25 the vision that Warren Alquist had back in the

1 day. And my family and I actually went to New  
2 York City the week before last and went to Ellis  
3 Island and the Statue of Liberty and a bunch of  
4 places of historical significance, and I think  
5 even that history, you know, hundreds of years  
6 ago, and it closed down in the '50s, Ellis Island  
7 did, but many of the folks who went through there  
8 stayed in New York, but many of them ended up in  
9 other places, including California, and our  
10 Democracy, I think, is just so much stronger  
11 because of that experience and hopefully we can  
12 keep that in mind, as well. We're really  
13 representing, we're kind of the face of that  
14 constituent driven process that is our State and  
15 Federal Government. And I think that  
16 responsibility is something I know I take very  
17 seriously, and I know my colleagues here on the  
18 dais do, too. And the Commission is just a  
19 terrific perch from which to exercise our  
20 authority, but also our good judgment. So thank  
21 you very much and I'll pass it on to the Chair.

22 CHAIRMAN WEISENMILLER: Yeah, I'll be  
23 brief also. I just really was going to mention,  
24 I went to the Sixth Clean Energy Ministerial in  
25 Mexico and they asked the Governor, and they got

1 me. But anyway, it's a three-day event. The day  
2 I was there, there are 350 people, there were  
3 days on either side which were really just energy  
4 ministers, and it's a pretty impressive event.  
5 You know, obviously a lot of world think tanks,  
6 or D.C. think tanks were there. Coming out of  
7 it, you know, I guess the basic messaging was  
8 that the tremendous drop in renewable cost really  
9 gives a lot of options around the world for  
10 countries to shift to cleaner energy systems, and  
11 that is a way that it makes it easier for them to  
12 step forward on climate commitments.

13 Secretary Moniz did three initiatives  
14 coming out of that on, again, sort of an  
15 international level, but trying to figure out how  
16 we can be supportive. One is lighting, LED,  
17 again, that's sort of a real game changer,  
18 clearly. Another one very focused on renewable  
19 integration issues, you know, that as the costs  
20 come down obviously trying to make sure that  
21 those issues are dealt with, and then finally  
22 sort of a clean technology transfer program that  
23 will deal with technical issues, financial  
24 advice. Again, my understanding, I've given  
25 people copies of what it is, but it's not like

1 for an 800 number for residential customers to  
2 call in around the globe, as much as if different  
3 countries are setting up programs, they can call  
4 to this group and reach out for assistance. So  
5 anyway, it was pretty -- I was in two panels, one  
6 was on Energy Efficiency and then other panel on  
7 R&D, and I would note we talked about climate, we  
8 had the new pending head of IPCC there. But  
9 anyway, people did remark that I had the most  
10 urgency of anyone in terms of trying to deal with  
11 the climate issues, certainly instilled more  
12 urgency to the scientists than they came into.  
13 So that was good.

14 VICE CHAIR DOUGLAS: So very briefly, a  
15 couple weeks ago I had the opportunity to go to  
16 Washington, D.C., Secretary Laird was there on a  
17 number of water visits and also visits that Jim  
18 Kenna, the State Director of Bureau of Land  
19 Management and I and Secretary Laird had on the  
20 Desert Renewable Energy Conservation Plan. So  
21 that was both in terms of some of the meetings  
22 within the Department of Interior and in terms of  
23 some of the Congressional meetings, a really good  
24 opportunity to exchange information and so on.  
25 So I think in the interest of time, I'll stop

1 with that report.

2           COMMISSIONER HOCHSCHILD: I'll be  
3 mercifully brief, as well. Just two points. One  
4 highlight, I went actually to visit the prison  
5 system last week, Solano State Prison, to look at  
6 how they're doing with renewables, because  
7 they've actually done an extraordinary job of  
8 deploying renewables, and I learned that just in  
9 the last few years the renewables that have been  
10 deployed on State Prisons are projected to save  
11 \$75 million of taxpayer money from the savings  
12 over 20 years, so that was exciting and there's  
13 more to come.

14           Then, you know, next week I'm convening a  
15 number of the leading renewable companies in San  
16 Francisco to meet with Peter Davidson who runs  
17 the U.S. Department of Energy Loan Guaranty  
18 Program, one of President Obama's top priorities  
19 is to get this remaining \$4 billion out the door  
20 for renewable loan guarantees, and so they asked  
21 me to help them do that, so we're having a  
22 gathering on Thursday to do that for California  
23 companies.

24           CHAIRMAN WEISENMILLER: He just announced  
25 this morning that he's going to be -

1           COMMISSIONER HOCHSCHILD:  He's stepping  
2 down in July and he's got a very good successor,  
3 so this is his kind of last hurrah doing this.

4           CHAIRMAN WEISENMILLER:  Let's go on to  
5 Chief Counsel's Report.

6           MS. VACCARO:  I don't have a report, but  
7 I do have a request of each of you.  It seems as  
8 though each of your offices has some sort of new  
9 staffing, whether it's just for the summer or  
10 permanent, and we are continuing to do the  
11 Advisor briefings, and we have one tomorrow.

12           I think most of your staff, you know, the  
13 new folks are planning on coming, but again, it's  
14 a way to ensure that they understand what Bagley-  
15 Keene requires, that they understand the Ethics  
16 rules, as well, all of the things to kind of  
17 facilitate the work of your offices, so if you  
18 can smile at them and ask them to participate if  
19 not tomorrow, then we can make time one on one  
20 with them, as well, but I think it would be good  
21 for all of these new folks to do this Advisor  
22 training.

23           CHAIRMAN WEISENMILLER:  Thanks for  
24 organizing that.  This will be helpful to all of  
25 us.

1           COMMISSIONER SCOTT: What time is it  
2 tomorrow? 3:30, okay, thank you.

3           CHAIRMAN WEISENMILLER: Okay, Executive  
4 Director's Report.

5           MR. OGLESBY: Just an announcement. We  
6 had our lunch director was excellent poached by  
7 the Senate, and so I wanted to announce publicly  
8 at the meeting that we've also poached from the  
9 Senate and that we've acquired Barry Steinhart  
10 from Senator Leno's Office, who has agreed to  
11 join us and is already doing a great job.

12           COMMISSIONER MCALLISTER: Okay. I will  
13 second that. He's already shown that he knows  
14 pretty much everybody in the building, as far as  
15 I can tell, and is very helpful and insightful.

16           CHAIRMAN WEISENMILLER: Public Advisor  
17 Report.

18           MS. MATHEWS: Two things, briefly. I'm  
19 excited that next week we will kick off our  
20 Summer Institute in Energy in Law and Policy for  
21 10 high school students from various high schools  
22 around Sacramento. And secondly, I'm happy that  
23 with the Cal Cap EVCS Financing Program, they  
24 reached out to me, I met with them yesterday, so  
25 I will be helping them with Outreach to ensure

1 that we can make sure these programs benefitted  
2 in a lot of the disadvantaged communities.

3 CHAIRMAN WEISENMILLER: Thank you. We've  
4 already had Public Comment, so this meeting is  
5 adjourned.

6

7 (Whereupon, at 5:42 p.m., the Business Meeting  
8 was adjourned.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24


25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of July, 2015.



---

PETER PETTY  
CER\*\*D-493  
Notary Public

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of July, 2015.

  
\_\_\_\_\_

Karen Cutler  
Certified Transcriber  
AAERT No. CET\*\*D-723