

## DOCKETED

<b>Docket Number:</b>	15-IEPR-04
<b>Project Title:</b>	AB1257 Natural Gas Act Report
<b>TN #:</b>	203454
<b>Document Title:</b>	Transcript
<b>Description:</b>	AB 1257 Workshop on November 18, 2014
<b>Filer:</b>	Anthony Dixon
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Applicant
<b>Submission Date:</b>	12/16/2014 1:50:20 PM
<b>Docketed Date:</b>	12/16/2014

COMMITTEE HEARING  
BEFORE THE  
ENERGY RESOURCES CONSERVATION AND DEVELOPMENT  
COMMISSION OF THE STATE OF CALIFORNIA

In the matter of, )  
 ) Docket No. 15-IEPR-04  
AB 1257 Staff Workshop on )  
California's Natural Gas )  
Infrastructure, Storage and )  
Supply )

CALIFORNIA ENERGY COMMISSION

HEARING ROOM A

1516 NINTH STREET

SACRAMENTO, CALIFORNIA

TUESDAY, NOVEMBER 18, 2014

9:05 A.M.

Reported By:

Julie Link

## APPEARANCES

Commissioners

Robert B. Weisenmiller, Chairperson

CEC Staff Present

Silas Bauer, Energy Commission Specialist

Ivin Rhyne, Office Manager, Supply Analysis Office

Robert Kennedy, Electric Generation System Specialist I

Leon Brathwaite, Engineering Geologist, Supply Analysis Office

Presenters/Panel Members Present

Roger Graham, Senior Manager of Product Management,  
Pacific Gas & Electric Company, (PG&E)

Beth Musich, Director, Gas Operations Staff, Southern  
California Gas Company, (SoCalGas)

Gwen Marelli, Director of Energy Markets & Capacity  
Products, Southern California Gas Company (SoCalGas)

Greg Reisinger, Regulatory Analyst California Public  
Utilities Commission, (CPUC)

Anthony Sanabria, Account Director of Business  
Development for El Paso Natural Gas Company, LLC

Gregg Russell, Vice President, Marketing Interstate  
Pipelines

Jim Schoene, General Manager, North Baja Pipeline and  
Account Director, Gas Transmission Northwest

Norman Pedersen, Attorney, Hanna and Morton LLP

Brad Bouillon, Director of Regional Operations  
Initiatives, California Independent System Operator  
(CAISO)

## APPEARANCES (CONT.)

Presenters/Panel Members Present (Cont.)

Steve Hance, Senior Electric Division Manager,  
Resources, Silicon Valley Power

Nick Schlag, Senior Consultant, Energy + Environmental  
Economics (E3)

Catherine Elder, Practice Director, Energy Resource  
Economics, Aspen Environmental Group

Sharim Chaudhury, Manager, Gas Demand Forecasting and  
Rate Design, Southern California Gas Company (SoCalGas)

Gordon Pickering, Director, Energy Practice, Navigant  
Consulting, CA Natural Gas Producers Association

David Buczkowski, Senior Director of Major Projects,  
Southern California Gas Company

Also Present

Greg Ruben, Kinder Morgan

Joe Ferrari, Wartsila North America

## INDEX

	Page
Welcome	
Silas Bauer, Energy Commission Specialist	7
Commissioner Comments	
Chairperson Weisenmiller	12
California Natural Gas System Overview	
California Energy Commission - Silas Bauer	13
California Gas Utility Perspectives	
Moderator - Silas Bauer	
Pacific Gas & Electric Company (PG&E)	
Roger Graham, Senior Manager of Product Management	23
Southern California Gas Company (SoCalGas)	33
Beth Musich, Director - Gas Operations Staff	
Gwen Marelli, Director of Energy Markets & Capacity Products	
Southern System Reliability Issues	
Moderator - Ivin Rhyne, Office Manager, Supply Analysis Office, CEC	39
Southern California Gas Company (SoCalGas)	44
Beth Musich	
Gwen Marelli	
California Public Utilities Commission (CPUC)	
Greg Reisinger, Regulatory Analyst	51
Discussion Panel #1	56
California Public Utilities Commission (CPUC)	
Greg Reisinger	
Southern California Gas Company (SoCalGas)	
Beth Musich	
Gwen Marelli	
Kinder Morgan, El Paso Natural Gas Pipeline	
Anthony Sanabria, Account Director of Business Development for El Paso Natural Gas Company, L.L.C. (EPNG)	

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

## INDEX

	Page
Energy Transfer, TransWestern Pipeline Owners Gregg Russell, Vice President, Marketing Interstate Pipelines	
North Baja Pipeline, LLC/TransCanada Jim Schoene, General Manager North Baja Pipeline and Account Director Gas	
Southern California Generation Coalition (SCGC) Norman Pedersen, Attorney, Hanna and Morton LLP	
NG/Electricity Coordination and Effects on Natural Gas/Electricity System Reliability	92
Moderator - Robert Kennedy, Electric Generation System Specialist I, Supply Analysis Office, CEC	
Silicon Valley Power Steve Hance, Senior Electric Division Manager - Resources	93
Lunch	
California Independent System Operator (CAISO) Brad Bouillon, Director of Regional Operations Initiatives	108
Discussion Panel #2	118
California Independent System Operator (CAISO) Brad Bouillon	
Silicon Valley Power Steve Hance	
Energy + Environmental Economics (E3) Nick Schlag, Senior Consultant	
Aspen Environmental Group Catherine Elder, Practice Director - Energy Resource Economics	
Southern California Gas Company (SoCalGas) Beth Musich	

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

## INDEX

	Page
Pacific Gas & Electric (PG&E) Roger Graham	
California Natural Gas Supply and Production	
Moderator - Leon Brathwaite, Engineering Geologist Supply Analysis Office, CEC	
Presentation - California Energy Commission (CEC) Leon Brathwaite	171
Discussion Panel #3	179
Southern California Gas Company (SoCalGas) Sharim Chaudhury, Manager, Gas Demand Forecasting and Rate Design	
CA Natural Gas Producers Association Gordon Pickering, Director - Energy Practice, Navigant Consulting	
Natural Gas Working Group Comments	225
Adjournment	230
Reporter's Certificate	231
Transcriber's Certificate	232

## P R O C E E D I N G S

1  
2 NOVEMBER 18, 2014

9:05 A.M.

3 MR. BAUER: My name is Silas Bauer. I'm the  
4 Project Manager for the AB 1257 report.

5 CHAIRPERSON WEISENMILLER: Is your mic on?

6 MR. BAUER: It should be on. Yeah, I'll just be  
7 a bit closer.

8 I'm the Project Manager for the AB 1257 report.  
9 What I'm going to talk about right now is just a quick  
10 overview of what the report is. And I apologize to any  
11 of you who have heard this before. This will be fairly  
12 quick.

13 But the whole point of today, and other  
14 workshops that we're doing specifically for the purpose  
15 of gathering feedback for this report, is to get  
16 stakeholder input on how we're approaching the report  
17 and what types of information we're going to include in  
18 the report.

19 So, the purpose of the bill, this is a 2013  
20 bill, and it tasks the CEC with identifying strategies  
21 to maximize the benefits obtained from natural gas,  
22 including biomethane as an energy source.

23 The way we're approaching this is that we're  
24 looking at a picture of how natural gas is used in  
25 California, currently, and trying to identify gaps in



1 our knowledge. So, where are there areas that we need  
2 to learn more moving forward in the future?

3 The bill covers ten topic areas, which I'll get  
4 to in a second. It also requires us to coordinate with  
5 a number of other agencies that are listed here. And  
6 then it's due to the Legislature by November 1st, 2015.

7 The ten areas of focus, as you can see here,  
8 obviously today we're talking about infrastructure,  
9 supply and storage. We also look at transportation.  
10 Natural gas is part of the resource portfolio. And CHP.

11 We look at natural gas as a low-emission  
12 resource. And biogas. And then, also, we look at  
13 efficiency, zero net-energy buildings.

14 There are a number of cross-cutting topics, as  
15 well. We're looking at how natural gas and electric  
16 industries can implement said strategies. And the way  
17 to think about that is just, basically, how are the  
18 electric and natural gas industries using natural gas,  
19 now. Again, what are our gaps in knowledge?

20 And then we're looking at jobs development and  
21 State and Federal policy that's related to natural gas  
22 use in California.

23 And the last one, number ten, is very important.  
24 We're trying to gather all of the economic and  
25 environmental cost and benefit research related to these

1 different areas of natural gas use. And we're looking  
2 to stakeholders to file that to the docket in this  
3 proceeding.

4 So, the way that these cost benefit analyses are  
5 defined are; authoritative, peer-reviewed and science-  
6 based analysis, or in consultation with the State Air  
7 Resources Board.

8 So, we're in constant contact with the ARB on a  
9 lot of these topics. And there's a lot of information  
10 on fugitive methane emissions, lifecycle greenhouse gas  
11 emissions and that's where we've been gathering the  
12 majority of this resource so far.

13 It's less common in some of the other topic  
14 areas, but if you know of something that you think  
15 should be included in the docket, please feel free to  
16 docket it.

17 The plan so far has been to run these workshops.  
18 We had an initial workshop on transportation, on June  
19 23rd, and that was part of the 2014 IEPR update. The  
20 rest of the report is part of the 2015 IEPR. And so,  
21 you'll see that our docket number, now, is under the  
22 2015 IEPR. We'll link back to the docket that we had  
23 for the transportation workshop.

24 The Supply Analysis Office had a CHP workshop,  
25 on July 14th, and that was a workshop that we sort of

1 coopted together information about how natural gas is  
2 used for CHP.

3 Obviously, today, we're talking about  
4 infrastructure, storage and supply.

5 And then, early 2015, we'll have another  
6 workshop on efficiency. And then there will a summer  
7 2015 workshop on our draft report, which will be  
8 published before that workshop. And we'll gather that  
9 feedback.

10 That will be a chance for people to log any --  
11 or, you know, comment on or log any information on any  
12 topic within the report, so it's like a second workshop  
13 in each of these topic areas. That's one way to think  
14 about it.

15 And after that's done, we'll include all of  
16 those revisions sometime in the fall and get ready for  
17 our November 1st publish date.

18 Fugitive methane emissions. We're waiting for  
19 the studies that EDF is doing, and a number of other  
20 groups are completing, to be fully published before we  
21 have that workshop. So, it's probably looking like late  
22 summer 2015 when we'll have that workshop.

23 The reason we're doing that is we want to be  
24 able to get all of the PIs of these different studies to  
25 come and actually present their findings.

1           So, keep an eye out for that workshop, as well.  
2 That will be, I think, a very big one.

3           So, before putting this workshop together we had  
4 some conference calls with agencies, utilities, NGOs,  
5 just to get a sense of what we should be talking about  
6 today.

7           If you've looked at your agenda, you already  
8 know that these are the topics we're going to be  
9 discussing today.

10           Natural gas reliability and affordability in  
11 California. The southern system minimum flow issue.  
12 Natural gas/electricity coordination. And natural gas  
13 supply demand and production in California.

14           Again, I'll reiterate that we're not discussing  
15 methane leakage or pipeline safety today. As I have  
16 noted before, there will be a workshop for methane  
17 leakage in late summer of 2015, and pipeline safety,  
18 we'll probably gather all of that information from  
19 publicly available documents that are already out there,  
20 so this is pretty well covered.

21           Stakeholder participation. As I've said before,  
22 we encourage you to file comments. We have an e-filing  
23 system now. You'll find directions on the workshop  
24 notice how to e-file comments.

25           You can also step to the microphone today and

1 put any comments that you have on the public record, and  
2 we welcome all of those comments.

3 Today is also going to serve as a Natural Gas  
4 Working Group meeting. That's typically been separate  
5 in the past. This time we're combining the two because  
6 the topics are somewhat similar.

7 At the end of the day, in the afternoon, there's  
8 going to be a chance for us to open up the discussion to  
9 any topic related to natural gas use in California, and  
10 that's specifically for the Natural Gas Working Group.

11 For most of the day, though, we're going to be  
12 sticking to the topics for this AB 1257 workshop.

13 And this is just information on how to submit  
14 comments. I'm going to leave this up so that people  
15 have it, if you want to take any notes on it.

16 I am turning it over to Chair Weisenmiller, who  
17 has joined us today, for any comments that he might  
18 have.

19 CHAIRPERSON WEISENMILLER: I wanted to thank the  
20 staff for organizing today's event and certainly thank  
21 all the participants.

22 This is certainly an important topic as we deal  
23 with -- you know, we've had a great increase in natural  
24 gas production and as a result, a decrease in price.  
25 Certainly, that's one of the national trends.

1           And at the same time, in California, as we deal  
2 with some of our other issues in terms of methane  
3 leakage safety we're trying to figure out, again,  
4 working through the topics under this legislation to  
5 come up with a solid report next year.

6           So, again, thanks for any information you can  
7 provide us on this topics so we can have a better  
8 record.

9           MR. BAUER: Thank you, Chair.

10           I'm going to move over, now, to a quick natural  
11 gas or California natural gas system overview, which  
12 will also be covered a little bit in presentations by  
13 PG&E and Sempra. And I'm going to leave some out, so as  
14 not to steal their thunder.

15           So, California gets its supply of gas from a  
16 number of different production basins throughout the  
17 country.

18           As you can see from this map, we get some from  
19 the Western Canadian Sedimentary Basin that comes down  
20 over the gas transmission, North GTN Pipeline, at Malin  
21 in Northern California.

22           There's also supply that comes across the new  
23 Ruby Pipeline, from the Rocky Mountain Basin, that  
24 delivers at that same Malin receipt point.

25           We also get gas in the south of the State from

1 the San Juan Basin, and Anadarko Basin, and Permian  
2 Basin all in the southwest. And those are delivered  
3 over two El Paso Natural Gas Pipelines, the North Main  
4 Line and the South Main Line.

5 There's also gas that comes in over the  
6 Transwestern Pipeline, the Questar Southern Trails  
7 Pipeline, and the Kern River Gas Transmission Pipeline.

8 All of these pipelines deliver into either  
9 PG&E's gas system or Southern California, Sempra's  
10 Southern California Gas's system for delivery to  
11 different end-use sectors, cities in California.

12 So, this is just a slightly more complete view  
13 of the system. Upstream to downstream, upstream  
14 including production, so you have gas being produced out  
15 of reservoirs and basins, and transmitted on large  
16 transmission pipelines to processing plants. And then  
17 to either underground storage, California has a fair  
18 amount of underground storage.

19 And I should note that underground storage can  
20 either be a demander or a supplier, and that's  
21 essentially how it works. So, with the utility storage  
22 facilities, in the summertime there's a lot of  
23 injection, in the wintertime there's a lot withdrawal to  
24 provide supply when demand is high.

25 When you look at independent storage facilities,

1 there's more injection and withdrawal throughout the  
2 year. Lots of marketers will store their gas there and  
3 then also use it in times of arbitrage.

4 So, gas moves from the transmission pipelines  
5 through the city gate, into the distribution system, and  
6 then to end-users, residential, commercial, industrial  
7 end-users. And then that's how it gets to your house,  
8 your business, or your facility.

9 Quickly, because this will be talked about  
10 later, PG&E's gas transmission system, as I noted, GTN  
11 delivers gas to the border of California and Oregon, up  
12 at Malin, and then it's transported on Line 400-401, the  
13 Redwood Path, down through Northern California.

14 And from this graphic you can see numerous  
15 compressor stations which facilitate that flow of gas.

16 From the south, the Baja path, which is Line 300  
17 A and B, gets delivery from the EPNG North Main Line and  
18 Transwestern and Questar southern trails. And that  
19 delivers into the PG&E system from the south.

20 There's also one section, you can see sort of a  
21 jug handle through the Bay Area, that's also part of the  
22 backbone transmission. Then all the smaller pipelines  
23 are small transmission, local transmission.

24 So, PG&E can deliver over 5 Bcf per day.

25 The Sempra System, this is an important graphic



1 because it will identify some of the things we're going  
2 to be talking about today. It's divided into a couple  
3 of different zones. And you'll see, of specific note,  
4 Northern Zone and Southern Zone.

5 The Southern Zone gets delivery from the EPNG,  
6 El Paso Natural Gas South Main Line. The Northern Zone,  
7 the pipelines that I mentioned before.

8 You do see one black pipeline on there that  
9 delivers between the two, but not a whole lot of gas.  
10 And so there is storage on the northern system, but  
11 there isn't on the southern system. And so that will --  
12 that leads to some issues now, especially with SONGS no  
13 longer being online, that we're going to discuss today.

14 The other pipeline that you see in gray, the one  
15 coming down from the top in the Northern Zone, that's  
16 Kern River, and then the other one is the Baja Path, so  
17 those are PG&E's pipelines, not SoCalGas's.

18 California uses about 6.4 billion cubic feet per  
19 day. This is from the 2014 California Gas Report.

20 You can see that the total numbers are projected  
21 to go down in the future and that's partially  
22 efficiency, and partially our Renewable Portfolio  
23 Standards, which will decrease the amount of gas  
24 necessary for electric generation as we get more  
25 renewables online, moving towards our 2020 goals.

1           So, this table shows the delivery capacities of  
2 the major interstate transmission pipelines. And one  
3 thing that I will note is that this is 100 percent  
4 capacity, and the pipelines aren't typically used at 100  
5 percent capacity. So, this is not the sort of delivery  
6 you're getting. But this is, potentially, if everything  
7 was perfect, how much you could get.

8           The point of this table, though, is to show that  
9 the takeaway capacity within California is not quite as  
10 high. And so you have more gas, potentially, that could  
11 come through the border than you have takeaway capacity  
12 to get it. So, it's a difference of about 8.5 Bcf and 7  
13 Bcf.

14           In certain cases, Otay Mesa has a capacity of  
15 400. Right now, there's zero coming over that.

16           We have a lot of storage in California, which is  
17 very helpful for reliable system operation. And this  
18 just breaks down Northern California and Southern  
19 California. And this is, actually, a fairly good  
20 system, I will say, because we do have the ability to  
21 supply a lot of the gas in situations where supply is  
22 short.

23           So, we will talk today a little bit about the  
24 polar vortex last winter. I know that on the day when  
25 there were curtailments, PG&E was able to, from their

1 supply, supply the entire system, the entire PG&E system  
2 out of storage, alone, because there was so little  
3 supply coming over the pipes. So, that was pretty  
4 impressive.

5 Just talking, quickly, about core versus noncore  
6 customers, and firm versus interruptible transportation  
7 and storage. For gas supply, these are unbundled,  
8 essentially, so these are two separate systems that  
9 people need to either contract for or buy.

10 Core service is typically residential, and small  
11 commercial and industrial, defined as less than 250,000  
12 therms per year, and natural gas vehicle customers.

13 Noncore, large commercial and industrial, and  
14 electric generation customers. This is another point  
15 that will become important today when we talk about what  
16 happened last winter, in February, when there were  
17 electric generation curtailments.

18 So, the difference here is that core customers  
19 are guaranteed delivery of gas. Noncore customers, if  
20 supply is tight, they aren't paying the extra money for  
21 the core services.

22 Gas transportation, you can have firm, which  
23 basically means uninterrupted, or interruptible  
24 transportation or storage.

25 Peak day demand and supply, for reliability the

1 utilities set up these two systems. The PG&E's abnormal  
2 peak day and SoCalGas's extreme peak day scenario.  
3 Which, essentially, provides a reliability scenario that  
4 should cover pretty much all contingencies.

5 And the way that PG&E has designed it is it's a  
6 1-in-90 year probability event, which equates to an  
7 average temperature of 27 degree Fahrenheit, which is  
8 around 3.2 Bcf per day. And then total noncore demand  
9 of about 2.5 Bcf per day.

10 SoCalGas has this set up as a 1-in-35 year  
11 probability event, which equates to a 40 degree  
12 Fahrenheit average temperature for SoCalGas, and 42.6  
13 degree Fahrenheit average temperature for San Diego Gas  
14 and Electric.

15 And then, those two utilities are approved to  
16 hold 2.225 billion cubic feet per day of firm storage  
17 withdrawal in their combined core portfolio.

18 Winter balancing rules. So, SoCalGas has this  
19 set up, now, to ensure that suppliers are providing  
20 enough gas or have an incentive to provide enough gas in  
21 the wintertime, when demand goes up.

22 And the way the winter balancing rules work is  
23 that between November 1st and March 31st, the suppliers  
24 must deliver 50 percent of usage over a five-day period,  
25 or they're charged 150 percent of the highest Southern

1 California Border price.

2           Once storage starts to come down, and this  
3 doesn't happen very often. I think about 93 percent of  
4 the time during that period between November 1st and  
5 March 31st, we're in the 50 percent usage over a five-  
6 day period sector.

7           But once storage gets lower, and essentially  
8 that's defined as peak day minimum storage plus 20Bcf,  
9 then 70 percent of daily usage must be delivered over  
10 the pipelines by suppliers. Or, again, there's the 150  
11 percent of highest Southern California Border price  
12 charge. And then interruptible storage is cut in half.

13           Once you get to the peak day minimum storage,  
14 plus 5 Bcf, the daily usage supply goes up to 90 percent  
15 across the pipelines. And it's the same charge, again,  
16 150 percent, and then there's not interruptible storage  
17 withdrawals.

18           So, and for peak day minimum, I put the  
19 definition at the bottom, if people can read it, but you  
20 also have your printouts.

21           PG&E uses a different system. They have high,  
22 and low, and operational flow orders, that's OFO, or  
23 emergency flow orders, that's EFO.

24           Essentially, you see this graph that tells you  
25 stage one gives a tolerance band of plus or minus 25

1 percent of usage. And then the noncompliance charge, if  
2 you fall outside of that tolerance band, is 25 cents per  
3 dekatherm.

4 So, as these OFOs get called, if they're going  
5 up, stage 2, stage 3, stage 4, stage 5, the tolerance  
6 band gets smaller and the charge goes up.

7 Once you get to an emergency flow order, the  
8 tolerance band is obviously zero, and the charge is \$50  
9 per dekatherm, plus the Daily City Gate Index, so a lot  
10 of money.

11 EFOs are not called very often, but this is  
12 basically how they incentivize making sure that  
13 suppliers are staying within the proper band when it's  
14 either a high or a low OFO.

15 SoCalGas, right now, has a filing in to use this  
16 same design just for low operational flow orders and low  
17 emergency flow orders, instead of their winter balancing  
18 rules. And that's proceeding A14-06-021, so I've been  
19 following that fairly closely.

20 Gas is scheduled in four cycles. So, the gas  
21 day runs from 7:00 a.m. to 7:00 a.m. I should note  
22 that's Central Time, so in California that's 5:00 a.m.  
23 to 5:00 a.m.

24 There are four cycles throughout the day, like I  
25 said, 9:30 a.m. the day before, again Central Time, 4:00

1 p.m. the day before, and then 8:00 a.m. day of, which is  
2 effective at 3:00 p.m., and 3:00 p.m. day of effective  
3 7:00 p.m.

4           Why this is important? Gas moves at 30 miles  
5 per hour. So, if there are electricity people here,  
6 it's very different than how electricity flows. So, if  
7 you need to contract for supply at a certain time, you  
8 need to plan ahead.

9           Again, as I said before, PG&E and Sempra will  
10 elaborate on their own systems a little bit and probably  
11 go into more detail.

12           I want to thank the utilities, the CPUC and the  
13 ISO, for being our speakers and panelists today, and all  
14 of you for coming. And please, again, I'll note,  
15 comments, written or verbal, are very much appreciated.  
16 So, help us out with this report so that we get all of  
17 the important information into it.

18           I am now going to turn it over to -- yes, okay,  
19 actually, we're going to move over to our first panel,  
20 which is California Gas Utility Perspective.

21           So, I'd like to invite Roger Graham, from PG&E,  
22 and Beth Musich and Gwen Marelli from SoCalGas, up now.

23           Our first speak on this first panel is going to  
24 be Roger Graham, from Pacific Gas & Electric.

25           Roger is the Senior Manager of Product

1 Management. His group manages the availability of  
2 capacity, pricing, tariffs, and special contracts for  
3 PG&E's backbone transmission and gas storage services.

4 Roger holds a BS in Mechanical Engineering from  
5 the University of Colorado, and a Master's in Business  
6 Administration from Santa Clara University.

7 So, I'd like to welcome Roger to the podium.

8 MR. GRAHAM: Thank you. It's a pleasure to be  
9 here and speak on behalf of PG&E, in front of the  
10 Commission here, and provide you some perspective on  
11 where PG&E sees its infrastructure today, and the in  
12 future, with regards to the capacity needed to serve our  
13 customers in Northern California.

14 I wanted to make -- Silas, you did a great job  
15 of summarizing California. I think you got your time  
16 zones wrong, though, on the gas day. It's 7:00 a.m.  
17 Pacific Time. Yeah.

18 Needless to say, it's an endless amount of  
19 confusion in the whole discussion around this,  
20 nationally, as everybody thinks in their own time zone.  
21 They try to talk in Central Zone, but it never seems to  
22 work out just right.

23 Just a quick summary, and maybe this is all that  
24 needs to be said. For PG&E infrastructure, at least  
25 today and as we see the near-term future being five to



1 ten years out, PG&E's backbone system is adequate to  
2 meet all the demands that we see.

3 We also believe there's sufficient natural gas  
4 storage in Northern California to do the basic functions  
5 that it's designed for, which is first to meet peak day  
6 demands. The second is to balance intraday demands, and  
7 day-to-day changes in supply and demand, as well as  
8 allow some optimization of supply purchases.

9 Like as was mentioned earlier, being able to buy  
10 gas in the summer when it's usually cheaper, though not  
11 always, and bring it out in the winter to meet these  
12 higher demands.

13 There is, as you'll see, there's plenty of  
14 natural gas storage in California. In fact, it has made  
15 PG&E's system inverted, that our backbone system  
16 actually runs at a higher load factor now in the summer,  
17 than it does in the winter, and that is to accommodate  
18 all of the gas storage injects. And then, when  
19 withdrawals come out, the flows on our backbone system  
20 actually decrease, and in some winters substantially.

21 It was also mentioned that on the long-term  
22 view, across PG&E service territory, we see overall  
23 demand growth very limited and, in some cases, actually  
24 declining.

25 But there are certain local systems within our

1 local transmission systems that still require capacity  
2 additions. So, we are still building new capacity in  
3 our local transmission system.

4 And it's an interesting phenomenon that as some  
5 of the industrial loads, and the energy efficiency of  
6 existing residential customers decline, you know, it's  
7 being offset by new residential construction. But that  
8 new residential construction is in areas of the State  
9 where we don't have as robust a system.

10 And so, we're having to build some fairly  
11 expensive local transmission upgrades in order to get to  
12 those communities. And one of them is out here in  
13 Sacramento.

14 This is another map, much like the one that was  
15 shown earlier, of the Western Interconnects. PG&E is in  
16 a really good situation in that we do have straws or  
17 pipelines to most of the large basins in the west. You  
18 know, whether it's the Canadian Basin, the Rockies, San  
19 Juan, Permian, we can access all of those into our  
20 system.

21 This is a little bit more about PG&E's backbone  
22 system that brings gas from the border into the core  
23 area of our service territory, which is mostly the San  
24 Francisco Bay Area, as well as some of the major  
25 communities up and down the Central Valley, Sacramento,

1 Fresno. This is, I think, more just for reference.

2 Backbone adequacy. We actually make a filing  
3 every two years with the Public Utilities Commission.  
4 We just made one this last summer and I think that's a  
5 good source for the CEC to look at when you want to try  
6 to -- you know, because it forecasts out, I forget  
7 exactly the number of years, at least ten years, the  
8 demand.

9 In such a way it's not just looking at average  
10 demands, but it's not just looking at peak demand,  
11 either, because that gives us sort of an unrealistic  
12 expectation of sort of what's the sustainable demand on  
13 our system.

14 So, we use a weather forecast or a forecast that  
15 looks at both dry hydro conditions, as well as cold  
16 winters. And it's a condition that we'd expect to see  
17 about once every ten years. So, that's the base  
18 forecast that we use when we're trying to decide whether  
19 there's adequate capacity in our system.

20 We do not include short-term sales to off-  
21 system. We do send a fair amount of our gas through our  
22 system and deliver it to SoCalGas. It, at times, can be  
23 upwards of 400 million cubic feet a day. But we don't  
24 include that. Most of that type of transportation  
25 service is done at significant discounts, so we probably

1 wouldn't expand our system to accommodate those type of  
2 sales. So, we do exclude those from the forecast when  
3 we look at capacity adequacy.

4 So, when you look at that, now, on an annual  
5 basis we were looking at our backbone system would run  
6 at about 76 percent on an annual basis.

7 I'll show you a slide, next, of what our  
8 historicals look like, and it moves around a lot because  
9 of gas storage. You do see near 100 percent utilization  
10 during some times, the spring and summer months, and  
11 very low utilization during other months.

12 This is what it's looked like for the last three  
13 years. You see even our backbone capacity actually  
14 varies a fair amount throughout the year. At this  
15 point, a lot of this is work that we're having to do on  
16 our system, safety-related work that's being done on the  
17 system that takes the capacity down. We try to do most  
18 of that work in the summer and then the capacity returns  
19 back in the winter.

20 Our system actually can transport more gas in  
21 the winter than it can in the summer. A lot of our  
22 compressor stations use gas turbines and their  
23 horsepower output diminishes with hot, ambient  
24 temperatures. And many of our compressor stations are  
25 in the hotter part of the service territory. So, we do

1 see in the winter generally a rise in our backbone  
2 capacity.

3           And you can see that this last winter was a very  
4 interesting phenomenon on PG&E's system. And that in  
5 February, which is our traditionally, you know, highest  
6 send-out, the largest demand of our customers, our  
7 backbone system operated at about a 50 percent load  
8 factor. And again, this is all the gas storage  
9 withdrawals that were happening on the system.

10           So, you can see some winters it's quite dramatic  
11 that the use of our backbone system decreases  
12 substantially in the winter and then increases, again,  
13 in the summer.

14           Here's a list of the gas storage assets that are  
15 in Northern California. PG&E, today, owns or controls  
16 about half the natural gas storage inventory capacity in  
17 Northern California. And the independent storage  
18 providers own about the other half.

19           They're fairly good geographically disbursed  
20 throughout the PG&E service territory, though there is  
21 some concentration of these on the Northern System, the  
22 Wild Goose Central Valley storage in Lodi are on  
23 pipelines that we consider our Redwood Path, in the  
24 northern part of the State.

25           And at times there has been some congestion

1 between gas that wants to come in at Malin, and come  
2 down Line 400-401 and storage withdrawals coming out of  
3 Wild Goose in Central Valley, and Lodi.

4           There is a process in our tariffs to deal with  
5 that type of congestion. It's happened a couple of  
6 times last summer -- or the summer-before-last,  
7 actually. We don't think that's a problem that's going  
8 to be common, but it can happen because of the very  
9 large withdrawal capacities that those independent  
10 storage providers have.

11           Looking at kind of the peak day supply and  
12 demand balance, you kind of look at supplies. We don't  
13 assume that 100 percent of our backbone system will be  
14 full of gas on a peak winter day. A good assumption is  
15 maybe 67 percent of it, as well as you probably aren't  
16 going to be able to access 100 percent of the storage  
17 withdrawals in the system on any given day.

18           Some gas storage facilities, actually, as the  
19 gas is drawn down in the reservoir, they're delivery  
20 rates decrease, so that if a cold winter day or a peak  
21 day occurred later in the winter, some facilities won't  
22 have as much withdrawal capacity as what's listed on  
23 their nameplate.

24           Other facilities don't have that same problem.  
25 But on average, we take an 80 percent look. And then we

1 look at the type of demands on our system, an average  
2 winter day is about 3,400.

3 Our historical peak day, which occurred, the  
4 highest send-out we've had on our system occurred last  
5 December 2013, at just about 5 Bcf. That was a day that  
6 informed us quite a bit on how big demands really can  
7 be.

8 We've always focused a lot on forecasting what  
9 our core demand will be on a day like that, about 3.2, a  
10 little over 3.2 Bcf a day.

11 But what we don't have a really good handle on  
12 is how much noncore load that we'll have. I mean, it's  
13 fairly easy to forecast the commercial and industrial  
14 loads, but the electric generation load that will occur  
15 on that day is something that we really don't have a  
16 good forecast on.

17 And last December 9th, was a -- it was actually  
18 quite surprising to us how much electric generation  
19 wanted to access the system on that peak day.

20 And so, I think people may have seen this slide  
21 from me six months ago, or a year ago, and the noncore  
22 load was 1,800.

23 We now think that on a peak day that the noncore  
24 load will be more like 2,300, 2,400.

25 Again, talking a little bit about our local

1 transmission system. We do see demand growth in the  
2 Sacramento area and a fair amount of growth, now, in the  
3 Santa Clara County, or Silicon Valley.

4 Here in Sacramento, really North Sacramento, you  
5 know, a lot of new housing and commercial growth. And  
6 the same is happening in Santa Clara County. It's  
7 probably more tilted a little bit towards commercial  
8 growth, as opposed to residential. That area's  
9 reasonably well-built out, so they are starting to build  
10 quite a few homes up into the hills around Cupertino,  
11 Saratoga. A lot of infill projects. So, we are seeing  
12 a fair amount of housing growth.

13 I think over the next 15 years, we're estimating  
14 upwards of 100,000 new residential connections, just in  
15 the Sacramento area.

16 So, we do have a proposal out to build a very  
17 large pipeline from our backbone system, which is  
18 actually out near I-5 -- I'm sorry, out near highway --  
19 yeah, I guess I-5 out there that far north, over to  
20 Auburn, in the North Sacramento area, so that we can see  
21 that.

22 And the other places where we are seeing,  
23 potentially, the need for some additional local  
24 transmission capacity is in the Fresno area and North  
25 Bay, the Marin County area. Those systems are really --



1 they're constrained at the moment. We do a lot of  
2 manual operations and we use compressed natural gas, and  
3 liquefied natural gas augmentation. So, we bring  
4 natural gas in, in trailers, either in a compressed form  
5 or in a liquid form. The liquid form, we have to gasify  
6 it, and we put it in the local system to increase the  
7 capacity at the local system. So, we're doing that  
8 fairly extensively across our system.

9           But at some point the demand growth is such that  
10 we'll have to probably put in some more capacity in  
11 those areas.

12           That's all I have.

13           MR. BAUER: Thank you, Roger.

14           Next up we're going to hear from Sempra  
15 SoCalGas. We have Beth Musich, who is the Director of  
16 Gas Operations Staff.

17           Beth is currently -- well, in her capacity she  
18 manages the training compliance, gas standards, new  
19 business processes and distribution integrity management  
20 programs for both SoCalGas and San Diego Gas & Electric.

21           Beth holds a Bachelor's Degree in Mechanical  
22 Engineering from Colorado School of Minds.

23           With her, and talking right after her will be  
24 Gwen Marelli, who has worked for -- she's the Energy  
25 Markets and Capacity Products Director. And she has

1 worked for Semptra Energy for over 20 years, and  
2 currently serves in the role I just noted.

3 In this capacity, she manages service to the  
4 largest natural gas customers of Southern California Gas  
5 Company, specifically large electric generators,  
6 enhanced oil recovery customers, and wholesale  
7 customers.

8 She holds a Bachelor's Degree in Mechanical  
9 Engineering from UC San Diego and a Master's in Business  
10 Administration from Pepperdine University.

11 So, I'm going to welcome Beth to the podium.

12 MS. MUSICH: We're going to tag-team.

13 MR. BAUER: You're going to tag-team.

14 MS. MUSICH: Good morning. So, just a quick  
15 overview. Southern California Gas Company has been  
16 delivering clean and safe, reliable natural gas to its  
17 customers for more than 140 years. It's the nation's  
18 largest natural gas distribution utility, providing  
19 energy to 21.3 million consumers through 5.8 million  
20 meters, for over 500 communities.

21 Our service territory encompasses approximately  
22 20,000 square miles, and it's a diverse terrain  
23 throughout Central and Southern California, from Visalia  
24 to the Mexican border.

25 So, SoCal owns and operates an integrated

1 transmission system consisting of pipeline and storage  
2 facilities. Through its network of transmission  
3 pipeline and four interconnected storage fields, SoCal  
4 delivers natural gas to over 5 million residential and  
5 business customers.

6 The transmission system, as you can see, extends  
7 from the Colorado River on the eastern end, to the  
8 Pacific Coast on the western end, from Tulare in the  
9 northern portion and down to the Mexican border in the  
10 south.

11 Our transmission system was initially designed  
12 to receive and redeliver gas from the east to the load  
13 centers in the Los Angeles Basin, the Imperial Valley,  
14 San Joaquin Valley, and our North Coastal areas, and  
15 then down to San Diego.

16 As our customers sought to access new supply  
17 sources in Canada and the Rockies, we modified our  
18 system so that it can concurrently accept deliveries  
19 from the north.

20 As a result, the system today delivers over  
21 3,875 million cubic feet per day.

22 Primary supply sources are the Southwestern  
23 United States, the Rocky Mountain Region, Canada, and  
24 California's on and offshore production.

25 So, the San Diego Gas Transmission System. It

1 consists primarily of two high-pressure, large-diameter  
2 pipelines that extend from Rainbow Station, located to  
3 the north, in the Riverside County, and they extend  
4 south to Rainbow -- excuse me, and extend south from  
5 there, down into San Diego.

6 Both pipelines terminate at SDG&E's City Gate  
7 Regulator Stations in San Diego.

8 The pipelines are interconnected approximately  
9 at their midpoint and, again, at their southern  
10 terminus.

11 The northern crosstie runs between Carlsbad and  
12 Escondido in the middle, while the southern crosstie  
13 runs through Miramar.

14 San Diego has a Moreno Compressor Station,  
15 located in Moreno Valley in the north, and it boosts the  
16 pressure into SoCal gas transmission lines serving the  
17 Rainbow Station. A much smaller compression station is  
18 located at the Rainbow Station.

19 We have an underground gas storage  
20 configuration. We have four fields. We have Aliso  
21 Canyon, in Northridge, Honor Rancho in Valencia, La  
22 Goleta in Goleta, which is near Santa Barbara, and Playa  
23 del Rey, which is in Marina del Rey, right near the  
24 airport.

25 Together, we have a combined inventory capacity

1 of 137 billion cubic feet. A little bit different than  
2 the slide that Silas presented. And a combined firm  
3 injection capacity of 850 million cubic feet per day,  
4 and withdrawal capacity of 3,760 million cubic feet per  
5 day.

6           There's many components, many factors are taken  
7 into account for our ten-year planning horizon.  
8 Firstly, we rely on the California Gas Report. And in  
9 the 2014 Gas Report there was a comprehensive outlook  
10 for natural gas requirements and supplies for California  
11 through the year 2035.

12           Although we rely on that, it's important to note  
13 that the projects in the California Gas Report are for  
14 long-term planning purposes and they do not, necessarily  
15 reflect day-to-day operations of our pipeline.

16           So, the closure of San Onofre, or San Onofre  
17 Nuclear Generating Station, took out 2,200 megawatts of  
18 electric generation in 2013. That was approximately 9  
19 percent of the electricity generated in California.

20           We're forecasting approximately, almost 2,000  
21 megawatts of new, gas-fired combined cycle, and peaking  
22 generating resources in our service territory by 2025.

23           This forecast also assumes almost 7,000  
24 megawatts of older plants that are retired as a result  
25 of the State's once-through cooling requirements.

1           The Los Angeles area plants have until 2020 to  
2 comply with this ruling.

3           Another factor that comes into play for our  
4 planning is the fact that California's currently on  
5 track to reach the 33 Percent Renewable Portfolio  
6 Standard by 2020. It's expected that solar and wind  
7 will make up most of the new renewable generation. And  
8 electric system operators must balance the electric  
9 demand with supply resources on a real-time basis.

10           Historically, system operators have relied on  
11 dispatchable gas-fired generation that can respond  
12 quickly to these changes in demand to keep the system in  
13 balance.

14           The substantial increase in renewable resources  
15 will present an additional challenge for all of us. We  
16 must deal with real-time, unanticipated variations in  
17 intermittent renewable power.

18           In addition, these resources greatly increase  
19 morning and evening ramps as both wind and solar  
20 resources can come online and offline very quickly.

21           The intermittent nature of renewable generation  
22 is likely to cause the electric system to rely more  
23 heavily on quick start generation, and that's quick  
24 start that can come on within three minutes and to full  
25 power in ten minutes.

1 I don't know if we want to talk a little bit  
2 more about some of the peak days.

3 MS. MARELLI: So, as far as our planning  
4 standards, we have a 1-in-10 planning standard for our  
5 noncore customers, a 1-in-35 for our core customers.

6 Our system can do 6 Bcf of capacity per day, and  
7 that's a combination of the withdrawal and receipt  
8 points capacity. And like Roger mentioned, you get some  
9 interference between the withdrawal and the receipt  
10 point capacity. So, if you look at them individually,  
11 they don't add up to 6 Bcf.

12 The highest day we had was 5.3 Bcf in the winter  
13 of 2000, and then we got close to that these last couple  
14 of years.

15 And our capacity-constrained areas, we have two  
16 potentially capacity-constrained areas. Those are the  
17 SDG&E system and the Rainbow Corridor as a combined  
18 area, and then the other area is the San Joaquin Valley  
19 at the northern end of our system. So, those are  
20 capacity-constrained areas.

21 MS. MUSICH: So, we currently have a new project  
22 at Aliso Canyon. It's to add new injection  
23 capabilities. Aliso Canyon's in Northridge. It's about  
24 25 miles north of Los Angeles.

25 And we're in the process of replacing existing,

1 obsolete compressors with state-of-the-art technology to  
2 help meet the region's demand for natural gas.

3           Currently, there's three natural gas turbine-  
4 driven compressors and they're used to inject gas into  
5 the storage fields.

6           This project is scheduled to be completed by the  
7 end of the fourth quarter of 2016.

8           So, we're ready to go onto the next.

9           MR. BAUER: Thank you to our presenters.

10           We're going to move on to our first panel, which  
11 is about Southern System reliability issues.

12           The moderator for this panel is going to be Ivin  
13 Rhyne, who's the Office Manager for the Supply Analysis  
14 Office.

15           At this time, I want to invite all of the  
16 members of the first panel to come join everybody at the  
17 table. And I'm going to turn it over to Ivin.

18           MR. RHYNE: Thank you. So, as the members of  
19 the first panel get up here, I'll do short introductions  
20 for everyone.

21           But just to sort of set the stage, one of the  
22 interesting things is that as we move forward there is  
23 the discussion of how much gas is available is at some  
24 point, and sometimes here in recent history been  
25 overshadowed by whether or not we could get that gas to



1 the right customers, at the right time.

2           And that has led to a proposal that's before the  
3 California Public Utilities Commission to add a new  
4 pipeline to the Southern California Gas System.

5           I will sort of be clear, we are not here to  
6 attempt to trample on any of that decision making  
7 process that the PUC is going through. That is an  
8 important and sort of constitutionally-mandated  
9 activity.

10           What we're doing here today is having a  
11 discussion around the table about what that proposal and  
12 some alternative proposals are, what it means for  
13 California in sort of a larger context.

14           And I think it will end up influencing some of  
15 the discussion that we have later today as we talk,  
16 perhaps, about the interaction between the gas and  
17 electric system, as well as some of the other questions  
18 about supply and the supply availability for California.

19           So, I want to sort of be clear about that before  
20 we kick off this panel.

21           The other thing is, is I have a number of  
22 questions here. They've been published to the docket.  
23 We will certainly try to get through these. But as  
24 these panels develop, certainly, we may find that there  
25 are questions or avenues worth further discussion, more

1 deep discussion. I'm not going to try to limit us only  
2 to sticking to these exact questions, if we find that  
3 there's an area worth further discussion.

4 So with that, I will mention that we have Beth  
5 Musich and Gwen Marelli here on this panel. They've  
6 already been introduced.

7 And also, Chair Weisenmiller will be joining us  
8 here at the table, although I don't have any particular  
9 questions for the Chairman. But, certainly, he can feel  
10 free to inject, as well.

11 Just a very short introduction. We also have  
12 Gregg Russell, the Vice President of Marketing and  
13 Interstate Pipelines, and Energy Transfer for  
14 TransWestern's Tiger and Fayetteville Express Pipelines,  
15 managing all commercial activity.

16 Gregg has 25 years' experience managing  
17 commercial activity relating to interstate natural gas  
18 pipelines, storage, and LNG facilities.

19 This includes trading and marketing,  
20 transportation and exchange, nominations and scheduling,  
21 business development, mergers and acquisitions,  
22 strategic planning and analysis, pipeline operations,  
23 contract administration, and customer service.

24 Sounds like a pretty well-rounded resume there.

25 Gregg graduated from the University of Houston

1 with a BA in Economics, and resides in Houston.

2 We also have Jim Schoene --

3 MR. SCHOENE: Schoene.

4 MR. RHYNE: Schoene, thank you. General Manager  
5 of the North Baja Pipeline and Account Director of Gas  
6 Transmission Northwest.

7 Jim is currently employed by TransCanada as the  
8 General Manager for Commercial Activities, the North  
9 Baja Pipeline, as I mentioned.

10 The North Baja Pipeline, just to be clear, is a  
11 wholly owned subsidiary of TransCanada Pipelines,  
12 Limited.

13 Jim graduated from the University of Michigan  
14 with a BS in Engineering, and has held various  
15 engineering, construction, and marketing-related  
16 positions since graduation.

17 And, finally, we also have Gregg Russell is  
18 currently the -- not just finally, we have one more.  
19 But Gregg Russell is currently Vice President of  
20 Marketing for Energy Transverse TransWestern.

21 Oh, yes, I did. Sorry, wrong side of the paper  
22 here.

23 We have Norm Pedersen, an attorney with Hanna  
24 and Morton LLP. Norm has extensive experience in energy  
25 law and related areas. He has represented electric

1 generators, electric utilities, oil and natural gas  
2 pipelines, industrial end-users, government agencies,  
3 and natural resource development companies in a wide  
4 range of energy-related matters before State and Federal  
5 regulatory agencies, courts, and legislative bodies.

6           Mr. Pedersen's a member of the Energy Bar  
7 Association, and various state and local bar  
8 associations. He has a BA degree and an MA degree from  
9 the University of California, at Berkeley. His law  
10 degree is from the University of California, at UCLA Law  
11 School. He is admitted to practice in California,  
12 District of Columbia, and before various Federal courts.

13           We also have Anthony Sanabria -- got that one  
14 right -- Account Director of Business Development for El  
15 Paso Natural Gas Company.

16           In 2013, Anthony joined Kinder Morgan as Account  
17 Director of Business Development. And as Account  
18 Director, he is responsible for connection of new  
19 supplies and markets, development and maintenance of  
20 customer relationships, coordination, and sale, and  
21 acquisition facilities.

22           Anthony is a 1992 graduate of Penn State, with a  
23 Bachelor of Science Degree in Petroleum and Natural Gas  
24 Engineering.

25           So, I want to thank all of our panelists for

1 being here today and we will go ahead and get started.

2           The first question really is focused on -- okay,  
3 so our first question is really going to be focused on  
4 the Southern System minimum, and I know that you have a  
5 presentation that will help sort of clarify the issue  
6 for us. So, I'll invite you to the podium to do that.  
7 Thank you.

8           MS. MARELLI: Okay, so, yeah, this is a  
9 similar -- I think it's the same slide that Silas used  
10 earlier. And I've circled on this one the Southern  
11 System.

12           And the Southern System is unique in our service  
13 territory in that the supplies in our storage fields  
14 can't reach the southern part of our system. So, we  
15 rely on flowing supplies to reach this area.

16           A limited amount of gas can come down from the  
17 northern receipt points, you know, and then back its way  
18 over, and then there's also the pipe -- it's not marked.  
19 But there is a small line that can give up to 80 million  
20 feet per day from the northern receipt points.

21           The majority of the gas for the Southern System  
22 has to come from the El Paso System that's at Blythe, at  
23 the right side of the slide, where it says El Paso,  
24 Ehrenberg.

25           So, this is a unique problem for our system in

1 that all -- the rest of our system is very  
2 interconnected. The Southern System is just not nearly  
3 interconnected as the rest of our system.

4 We have very liberal rules with where you have  
5 to bring your gas. You can be anywhere on our system.  
6 You can be sitting on the very southern tip of the SDG&E  
7 system and bring gas in through PG&E, or through any of  
8 the northern receipt points.

9 And so what this does is that when prices are  
10 such that it doesn't make sense, economic sense to bring  
11 gas into our Southern System, sometimes we have issues  
12 getting gas into that Southern System, and that happens  
13 to be the place where we need to have that flowing  
14 supply.

15 So, what this means is that every single day,  
16 365 days of the year, we do have a minimum amount of  
17 supply that has to be brought into that Southern System,  
18 and that's posted on our Envoy website every single day.

19 On days when not enough gas is brought into the  
20 system, then we, as the system operator, need to go out  
21 and purchase supplies, and bring them into that Southern  
22 System to make sure that we can serve the needs of those  
23 southern customers.

24 We'll go to this one. Actually, we'll go to  
25 that one. So, what this slide shows is if you look at

1 that, I'm going to call it blue, and the green bars,  
2 that's the amount, the quantity of gas that the system  
3 operator has brought into the system from 2009 to 2014.  
4 And you can see that amount is going up.

5 The green is another tool that the CPUC allowed  
6 us to have, which is a baseload contract, so that green  
7 is gas that comes into our system, you know, every day  
8 in the wintertime.

9 And then the blue are spot purchases that we  
10 have to go out and purchase on a daily basis.

11 The blue line and the purple line, those are the  
12 number of requests that we received and the number --  
13 and that's the blue line is the number of requests that  
14 we received. And the number of flow days is the purple  
15 line.

16 So, as you can see, the quantities that we're  
17 having to purchase are going up, the number of days that  
18 we're having to purchase is going up, and the number of  
19 requests that we're getting is going up.

20 So, this is what brought us to the point of  
21 filing the application that we were talking about.

22 Just to show you some of the numbers, this shows  
23 the quantity, the decatherms on that first line, the  
24 purchases. So, you know, we were doing about 7 Bcf in  
25 2009 and in this last year we did, you know, 42 Bcf, so

1 quite a bit more gas that we're having to supplement  
2 into the Southern System because customers aren't  
3 bringing gas into the Southern System.

4           And then, the costs have also been increasing.  
5 They started at about \$2.2 million and in this last time  
6 frame that we're showing here was \$15.5 million, and  
7 that's just for the gas purchases.

8           Then, we also offer discounts into our Southern  
9 System. Off of the backbone rate that customers pay,  
10 we'll offer a discount to try to incent gas to come into  
11 that Southern System.

12           So, the total cost, anywhere from \$2.2 million  
13 to, recently we paid \$23.4 million. And then that goes  
14 right back to customers. Customers pay back those costs  
15 for the gas that we buy for them.

16           So, we do have tools that we've gotten over this  
17 time frame, since 2009, to try to improve the  
18 reliability of the Southern System. One of them was a  
19 purchase of Line 6916 from Questar, and that's up to 80  
20 million a day of gas that we can get from our northern  
21 receipt points down to our Southern System.

22           We have what we call the MILC, the Memorandum in  
23 Lieu of Contract. And that's a contract between the  
24 system operator and SoCalGas's Gas Acquisition Group.  
25 And so what we've done, as a system operator, is



1 contracted with Gas Acquisition to agree to bring in  
2 supplies that the core needs for the Southern System,  
3 and bring those directly into the Southern System.

4 And in exchange for that, they don't have to pay  
5 the SRMA costs, if there are any for that particular  
6 day.

7 Recently, as I mentioned, we had approved the --  
8 that was last year, we had the approved, the ability to  
9 bring in up to 255,000 decatherms per day at Ehrenberg,  
10 on a baseload basis in the wintertime. And that was  
11 very helpful this past winter in getting us, you know,  
12 through the winter.

13 We also have the ability to do the spot gas  
14 purchases and we have a mechanism set up, a safe harbor  
15 of sorts, so that if we purchase the gas within these  
16 parameters that are set up for us, then those purchases  
17 are deemed to be reasonable.

18 And we also will discount, as I mentioned, the  
19 rate. We had been able to discount only the  
20 interruptible rate, and we recently got approval to also  
21 discount the firm rate into the Southern System.

22 I'm going to go to the pipe so I can show you  
23 what it looks like. So, if you look on this, the red  
24 line is the project that we're proposing. It's a 63-  
25 mile pipeline, a 36-inch pipeline going from Adelanto

1 down to Moreno. So, that's tying our Northern System to  
2 our Southern System. And it's 30,000 horsepower of  
3 compression. So, that's what we're proposing in this  
4 application.

5           So, some of the benefits of this is that  
6 pipeline will be able to move up 800 million cubic feet  
7 per day of supply from all of those northern receipt  
8 points, from all the ones that are on the northern side,  
9 as well as our storage gas. And that's a unique feature  
10 of the north/south pipeline is that you will be able to  
11 move not only the receipt point gas, but the storage  
12 gas.

13           That became an issue in some of the previous  
14 times because we weren't able to get storage gas and no  
15 gas was coming into our system.

16           It will also, as just a coincidental benefit,  
17 will increase our receipt point capacity by 300 million  
18 cubic feet a day of the northern receipt points.

19           And because it does this interconnection of the  
20 north and south, and allows that storage gas to flow to  
21 the Southern System, it provides quite a bit of  
22 reliability for the Southern System that they don't have  
23 today. And we believe that will also increase the  
24 potential reliability of the electric grid because that  
25 does tend to be one of the places, with the San Onofre

1 outage, that we have a lot of new electric generation.

2           SoCalGas and SDG&E don't believe that non-  
3 physical solutions will fix this problem. As I  
4 mentioned, no access to storage. And then, even if you  
5 contract for upstream supplies beyond the Blythe receipt  
6 point, you're still tied to the Ehrenberg -- or to the  
7 El Paso System.

8           And we'd like to have a lot more supply  
9 diversity so if something's happening on the El Paso  
10 system or if, you know, the prices are more there, we'll  
11 have the ability to bring the gas down from those  
12 cheaper receipt points. And we think that will provide  
13 our customers with the most flexibility and the most  
14 reliability.

15           And my last slide just shows the average  
16 residential bills, what this is going to do to a  
17 residential bill. And then, also, for our noncore  
18 customers, a transmission level rate. It looks a little  
19 wonky because all of the increases on the backbone or  
20 the transmission level rates go into the backbone rate.

21           And then, as you can see for a residential  
22 customer, it's about a one percent increase in their  
23 monthly bill.

24           And that's it.

25           MR. BAUER: All right, so next we have Greg

1 Reisinger, from the CPUC, who's going to give us a short  
2 presentation about the Southern System minimum flow  
3 issue, requirement and management tools. I'd like to  
4 welcome Greg.

5 MR. REISINGER: So, the good news is that most  
6 of my numbers are going to look very familiar to the  
7 numbers Beth presented, because it's nice when we're  
8 presenting on the same topic that the numbers work.

9 The bad news is you're going to have to hear  
10 some of the same comments.

11 Just to begin with is there is a Decision 07-12-  
12 019 that states that each October SoCalGas needs to file  
13 an annual compliance report that basically presents all  
14 the transactions regarding purchases to meet the minimum  
15 flow requirements on the Southern System.

16 And that's a detailed -- we go through and do a  
17 detailed look at all of those transactions to make sure  
18 they comply with certain criteria that are set up and  
19 that are documented in SoCalGas's Rule 41.

20 Most of those criteria are very clear cut. You  
21 know, there's a range within which certain purchases  
22 have to be made to be deemed reasonable. There's other  
23 circumstances and criteria that define how the baseload  
24 contracts that Beth had mentioned need to work.

25 And by and large, in fact I think in the last

1 report that just came out for the period 2013 to 2014,  
2 of the 150,015 transactions, 65 percent of them were  
3 within the safe harbor limits, about plus or minus 10  
4 percent. Purchase and sales of gas were within 10  
5 percent of the ISE index.

6 The remaining -- and that represented, though,  
7 only about 12 percent of the sales dollars, or the  
8 purchase and sales dollars.

9 If you look at the base loads that Beth had  
10 mentioned, those contracts all fell within the criteria  
11 that were set up. They delivered about 78 percent of  
12 the purchase dollars of the purchases.

13 So, let me see if I can do this right. Oh,  
14 okay, sorry, that helps.

15 So, as Beth mentioned, when the decision was  
16 first put in place, there were basically two tools, the  
17 spot purchases, which have been the most heavily used  
18 tool, and then the second was a request for offer, for  
19 offers that SoCalGas could use.

20 And then the third issue here was an expedited  
21 device letter, approval process for contracts. We  
22 probably haven't, from our side, been able to get  
23 through that process on an expedited basis.

24 Over the time frame of these -- of the different  
25 ACRs -- okay, over the time frame, and this follows the

1 same pattern that Beth had mentioned, is we've seen a  
2 significant growth in the level of purchases needed to  
3 maintain the Southern System.

4 And those have gone from, at the low point there  
5 it was about \$8.3 million, for about a 1 Bcf, up to  
6 about \$185 million in purchases this past year, for  
7 around 15 -- or I'm sorry, 37 million decatherms.

8 And as that's gone on, the net costs have  
9 increased significantly. Although, as you'll see, not  
10 at the same rate.

11 Since most of the purchases that are made are  
12 then -- that gas is then resold at the city gate,  
13 there's a significant difference between the net cost of  
14 these purchases and what the actual purchase was.

15 And just looking at it, the net cost the last  
16 several years, the last two or three years has been  
17 about 10 percent or so of the total purchase price of  
18 the gross.

19 So, as this has grown, one of the things that's  
20 happened is it's become clear that there were some  
21 refinements that could be made, and SoCalGas had the  
22 opportunity, under the original decision, to request  
23 additional management tools for the Southern System  
24 purchases to maintain the minimum flows.

25 And over the last, probably, three years,

1 several have been included. The one is the Memorandum  
2 in Lieu of Contract was first put in place about two  
3 years ago. And then, just recently, it was set up on a  
4 basis where it could be renewed each year on a  
5 preapproved basis, as long as it met certain defined  
6 criteria.

7 A similar thing with baseload contracts. A few  
8 years ago there was a proposal for some baseload  
9 contracts. They were not approved on a timely basis,  
10 but it did allow us to define some criteria for what the  
11 CPUC would look for as a reasonable baseload contract.

12 And now, as long as those -- as new contracts  
13 meet those criteria, they're approved also on a  
14 preapproved basis.

15 And then there's also the ability for SoCalGas  
16 to purchase gas at Blythe and transport it through an  
17 affiliate into Otay Mesa, when gas is needed  
18 specifically at Otay Mesa, and when that process is less  
19 expensive than buying, than making spot purchases at  
20 Otay Mesa.

21 And finally, as mentioned earlier, there's now  
22 discounts allowed for both interruptible and firm, with  
23 a particular twist that firm deliveries -- firm Btus  
24 was, in the past, always had alternative delivery point  
25 rights.

1           So, SoCalGas may offer a discount to help supply  
2 the Southern System, but for firm customers they could  
3 actually deliver that and receive the discount into the  
4 Northern System, so it wouldn't have helped.

5           So, the request came in that can we alter that  
6 to take away those alternate points and to designate  
7 that it has to go into the Southern System? And that  
8 was also just recently approved.

9           So, if you look at it over the time frame, the  
10 cost increases have been much -- have grown much less --  
11 the net cost has grown much less quickly than the total  
12 purchases. And we'd like to believe that through the  
13 Commission-approved tools, and what have been proposed,  
14 that SoCalGas has been able to basically maintain the  
15 costs at a relative -- on a per-unit basis, at a  
16 relatively stable level.

17           If you look at it, the last three period we  
18 examined fall within between 33 and 40 cents per  
19 dekatherm.

20           So, absent that one year, one period, '10-'11,  
21 it's been a relatively stable process in terms of the  
22 net cost per unit.

23           So, that's all I have for you.

24           MR. RHYNE: All right, so thank you, Greg. And  
25 thank you, as well, to Beth and Gwen.



1           So, we're going to get into our questions now  
2 and I will ask the panel members, as you -- when you  
3 speak for the first time, just briefly state who you are  
4 and who you're with to make sure that we get this for  
5 the court reporter, as well.

6           So, the first question, as I mentioned, really  
7 sort of focuses on Southern California gas. The graphs  
8 shown by both you and by the PUC show a dramatic  
9 increase in flow days and the cost associated with this.

10          And, really, what are the circumstances of  
11 demand versus supply that are driving this increase in  
12 flow days?

13          And as a follow-on to that, to what extent has  
14 this minimum flow issue affected reliability in the  
15 Southern System?

16          MS. MUSICH: So, Beth Musich, SoCalGas. Yes, so  
17 the -- we do have a minimum flow every day of the year.

18          What I think has happened in the last few years  
19 is, certainly, the San Onofre outage has caused more gas  
20 supplies on that. There have been additional electric  
21 generation that's been sited on our Southern System.

22          And then last year, the unusual price patterns  
23 across the nation caused gas to go away from our entire  
24 system.

25          So, I think all of those things have exacerbated

1 our Southern System issues and under what circumstances  
2 and -- so, the two things that are going to exacerbate  
3 problems there are going to be if there's a supply issue  
4 upstream or extreme pricing differentials between  
5 California and other states.

6 Or if, as has happened several times, if it gets  
7 very cold and we have a lot of core usage then, you  
8 know, you may just not see enough gas being delivered to  
9 meet those needs. And that's why we've ended up a few  
10 times in curtailment or near-curtailment situations.

11 MR. RHYNE: Okay. Any other panelists wish to  
12 weigh in on that particular question or any other follow  
13 ups?

14 Norm.

15 MR. PEDERSEN: Yes. Thanks, Ivin.

16 First, I'd just like to start with a couple of  
17 comments about the presentation Beth just made before  
18 this one, where she was talking about the Southern  
19 System and about the north/south project.

20 First, Beth mentioned the line 6916 that can  
21 deliver 80 million cubic feet per day from the Northern  
22 System to the Southern System, and that went into  
23 operation something like a couple of years ago.

24 But for a long time we have had two other  
25 interconnections between the Northern System and the

1 Southern System that should be mentioned.

2           There shouldn't be the impression that -- folks  
3 shouldn't have the impression that the Northern System  
4 and the Southern System are completely unconnected from  
5 the north, other than through that line 6916.

6           About 200 million cubic feet a day, on average,  
7 according to Dave Bisi, at SoCalGas, can move through  
8 the Chino and Prado interconnects between the north and  
9 the south.

10           So, there is some deliverability. But,  
11 nevertheless, the bulk of the supplies do need to come  
12 in through Ehrenberg.

13           And while I'm on it, I just couldn't help but  
14 notice your last slide, Beth, that you particularly  
15 pointed out, where you said the rate impact of the  
16 north/south project would be 1.1 percent, I think for  
17 residential customers.

18           But the backbone rate would go up 81 percent,  
19 your slide on page 17 shows. And for every therm that is  
20 delivered to the core, that therm has to come through  
21 the backbone system.

22           And in a previous proceeding we had at the CPUC,  
23 parties agreed that around 93 percent of whatever a  
24 producer pays to move gas through the backbone to get to  
25 the market, the city gate, so that gas can go on to

1 residential customers is ultimately picked up by the  
2 downstream customer. So, the core would have a big  
3 impact from the north/south project.

4 But I'd just like to turn to what Beth was just  
5 talking about. In SoCalGas's testimony, they pointed  
6 out actually four very different threats that they saw  
7 coming up for the Southern System.

8 They've talked at some length about how flowing  
9 supplies might not be available for delivery to  
10 Ehrenberg for the longer term primarily because gas is  
11 started to flow off the Southern System to El Paso.

12 Secondly, they pointed out that gas might not be  
13 delivered to the Southern System, at Ehrenberg, from El  
14 Paso, due to adverse weather conditions. And as just  
15 about everybody in this room knows, we had a couple of  
16 those this last winter. Winter 2013-14 we had the early  
17 December weather event and then in early February what  
18 folks called the polar vortex event that affected the  
19 entire nation.

20 Thirdly, in their testimony they pointed out  
21 that the force majeure events may occur on the El Paso  
22 System that would impair deliveries into Ehrenberg.

23 And then, lastly, they did talk about  
24 limitations on the Southern System, itself.

25 And when we get into some of your other

1 questions, Ivin, we can talk about the solutions to  
2 those different threats. But certainly, from our point  
3 of view, yes, there are those threats, but those threats  
4 are manageable.

5 MR. RHYNE: Okay, thanks Norm.

6 Any other comments before we move into our next  
7 question? No.

8 All right, so in looking at the events that may  
9 have sort of precipitated the need to sort of file this,  
10 on December 20th, 2013, Southern California Gas, San  
11 Diego, they filed their application authority to recover  
12 North/South Project revenue in customer rates, and for  
13 approval of related cost-allocation rate design  
14 proposals.

15 Subsequently, two other pipeline companies have  
16 filed initial details on alternative pipelines, and  
17 another filed comments alluding to a pipeline proposal  
18 that would be filed in the future.

19 I'll ask -- I'll actually ask the other pipeline  
20 companies maybe to go first. Could you each, those here  
21 at the table, speak to -- describe the proposed  
22 pipelines and explain what the potential benefits are  
23 from those projects and any potential drawbacks?

24 MR. SANABRIA: Anthony Sanabria with El Paso  
25 Natural Gas.

1           We have made a proposal to build a pipeline in  
2 Arizona to basically parallel one of our existing  
3 pipelines to move gas from our northern mainline down to  
4 our southern mainline, for increased deliveries to  
5 Ehrenberg.

6           In addition, this would also allow us to take  
7 gas back from SoCalGas, from their Northern System, to  
8 our system and route it around to them.

9           So, just like their north-to-south project, it  
10 would interconnect their northern system with the  
11 southern system.

12           We see our project having four distinct  
13 advantages. The first is scalability. They're  
14 proposing a project to build 800 million a day. Ours  
15 can be scaled anywhere from 300 to 800 million a day, as  
16 other people on the proceedings have questioned how much  
17 is truly needed.

18           The second is ours is actually a brown field  
19 project. We have an existing right of way. We have the  
20 compression we're going to put in is all at existing  
21 compression stations, so it has a lot smaller impact on  
22 the environment compared to a green field project, like  
23 they're proposing.

24           The third is timing. We can get our project in  
25 within three years from whenever SoCalGas would enter

1 into a contract. So, we're looking -- if they were to  
2 decide at the end of this year to do something, we could  
3 be in serve 2018. They're looking at a 2020 date.

4 As they've noted, there is a need to get this in  
5 service right away.

6 One of the other things with timing is their  
7 project has anywhere from a 50 to longer life that  
8 they'll be required to charge customers. Ours is a  
9 fixed 20-year term.

10 Which brings out the fourth and probably most  
11 important aspect of our project is cost. Our cost is  
12 significantly less, anywhere from 50 percent to 30  
13 percent lower, depending on which scale they were to  
14 pick.

15 More importantly, ours is a fixed cost. The  
16 annual revenue that we've project to them is a set  
17 amount. It's what they would pay no matter what the  
18 cost of the project and service is.

19 Kinder Morgan has decided we bear all risk of  
20 putting it in service, once they were to agree to a  
21 contract.

22 Their project has an unknown cost. Initially,  
23 it was \$628 million. It's been revised at \$621 million,  
24 but that included a major decrease in the scope of their  
25 project.

1           So, I think that's the benefits of our project.  
2 It gives the same type of reliable service, but at a  
3 much lower cost for their ratepayers and for a much  
4 lower duration of time.

5           MR. RHYNE: So, Anthony, I'm going to ask you to  
6 speak to the other side of the coin, though. Are there  
7 any drawbacks that we can put on the table now, that you  
8 know of with that particular proposal?

9           MR. SANABRIA: We don't see, really, any  
10 drawbacks. We accessed their system at Topock, where  
11 they have their deliveries to them, so we can move gas  
12 from their system to ours.

13           We've included an option to move gas from their  
14 storage interconnects, off our Mojave System back. It  
15 gives about the exact same reliability that we see they  
16 have.

17           And one of the things they've pointed out is  
18 some issues of, well, the reliability of gas deliveries  
19 at Ehrenberg. In our testimony, we've provided data  
20 that shows that we've never really had any -- I think it  
21 was a 99.99 percent reliability over the last three  
22 years for deliveries. And for a cost that's  
23 significantly lower, it seems like a much better benefit  
24 to the California ratepayers.

25           MR. RHYNE: Thank you.



1 Jim? Gregg?

2 MR. SCHOENE: Thank you. I'm Jim Schoene, with  
3 North Baja Pipeline.

4 Do you have --

5 MR. RHYNE: We're going to pull that up for you  
6 right now. I'm not sure how clear that is. Okay, there  
7 we go.

8 MR. SCHOENE: Well, I've seen it before. This  
9 proposed pipeline would interconnect with SoCal at both  
10 the North Needles and the South Needles SoCal compressor  
11 stations, continue south and interconnect with SoCal at  
12 their existing pressure station at Blythe.

13 The top 15 miles, depicted in blue, is 24-inch  
14 pipe. The bottom 90 miles is 36-inch pipe.

15 We could site compression at the SoCal South  
16 Needles Compressor Station, if it was required. That  
17 remains to be answered.

18 The pipe, not coincidentally, has a nominal  
19 design of 800 million a day. It can be kind of whatever  
20 we need it to be or want it to be, taking SoCal's lead  
21 for volume.

22 1,150 MAOP pipe. It traverses incredibly arid  
23 geography, nearly no population impacts. It is very  
24 much a green field pipeline.

25 We've looked at this route before,

1 coincidentally, for other purposes, so it's not  
2 completely unfamiliar to us.

3           Far fewer environmental entanglements, I would  
4 say, given at least with respect to people. I was about  
5 to guess how many people might be proximate to the  
6 pipeline, and I think we could get them all in this  
7 room.

8           An endangered species or two, I imagine, along  
9 the way, probably not dissimilar to the route we have  
10 from our existing North Baja Pipeline, from Ehrenberg to  
11 the U.S./Mexico border. We successfully mitigated those  
12 impacts when we built the pipeline. We received a  
13 certificated from the FARC, in 2008, to expand the  
14 pipeline, although it was never built, with all the  
15 environmental issues addressed there and fully  
16 mitigated.

17           Similar to El Paso, the contract we would  
18 contemplate with SoCal would be based -- would have a  
19 rate based solely on what they contract for. We would  
20 bear the risk of under-subscription or over-  
21 subscription. Over-subscription being a problem we'd  
22 love to have.

23           But SoCal would not be exposed to the full cost  
24 of the pipeline, only the capacity which it contracted  
25 for.

1           I should go back to the interconnect with Blythe  
2 for a moment. We do have an existing interconnect  
3 there. We have moved gas through that interconnect into  
4 SoCal from time to time. And we have taken gas from El  
5 Paso, at Ehrenberg, and moved it south into Mexico, and  
6 then I'll call it around the horn, up into Otay Mesa,  
7 from time to time, when SoCal needed volumes at Otay.

8           It does satisfy the minimum flow requirement  
9 criteria that SoCal stipulate in its application. In  
10 other words, it transfers gas from the north to the  
11 south through the existing interconnect.

12           The cost was or is estimated to be about \$585  
13 million, minus \$82 million of compressionism needed.  
14 Slightly lower than SoCal's present estimate.

15           I think that's the substance of the project  
16 physically. And with that, I'll give it to Gregg.

17           MR. RHYNE: Thank you. Gregg.

18           MR. SCHOENE: Unless there are any questions.

19           MR. RUSSELL: Thanks, Jim. Gregg Russell, with  
20 TW.

21           You know, our proposal is not really that  
22 dissimilar to either what El Paso is laying out or what  
23 North Baja is laying out. Again, what we're trying to  
24 do, and I guess let me start by saying that we do agree  
25 that Southern California does need some additional

1 infrastructure.

2           We'd like to put it in, in a more cost-effective  
3 method. Our project is also scalable. We can do  
4 anywhere from 500 to 800 million a day. And that can  
5 either be that we can start the project at 800 million a  
6 day, if the capacity is needed, or we could start  
7 smaller. We could start it at 500 million a day and  
8 then ramp up, again, as necessary, and that's just with  
9 the addition of compression.

10           As with what Anthony said, timing is a big  
11 thing. I think we have laid out in our initial round of  
12 testimony that more or less from today, if we were to  
13 move forward, we could have this project in place by  
14 2017, versus what SoCal's looking at as the 2019 time  
15 frame.

16           And that timing is really very, very important  
17 from the stand point of what's going on as far as  
18 exports into Mexico. A lot of the congestion,  
19 quote/unquote, that everyone talks about on El Paso's  
20 South Mail Line certainly would be probably ramping up  
21 in that 2018 time frame.

22           So, you're in a situation where you've got  
23 increasing Mexico exports but, yet, SoCal does not have  
24 a solution to its Southern System that is certainly  
25 within a timely sort of a basis.

1           One thing, though, I would like to sort of talk  
2 about, and this is probably a support for not just TW's  
3 proposal, but also for El Paso and for North Baja, is  
4 that SoCal repeatedly mentions that storage is integral  
5 to their proposal.

6           I think we're kind of mixing reliability of  
7 supply versus reliability of pipeline capacity. You  
8 know, storage supply is not the sole reliable supply for  
9 the Southern System.

10           I'm afraid that what's going to happen is  
11 Southern California is going to get into a situation  
12 where they're paying close to \$200 million more for a  
13 project that is based on supply that might not be there.

14           I think we all know what happened this past  
15 winter with SoCal's supply situation, as far as their  
16 storage inventories go, which they were at a low level  
17 for many days during this past winter.

18           So, if you're putting all this infrastructure in  
19 solely under the premise to move storage gas down to the  
20 south, and the storage gas isn't there, I'm not sure,  
21 really, what this project is accomplishing as a whole.

22           And then, I guess, finally, when you talk about  
23 supply diversity, I guess I'd ask the State of  
24 California to look at supplier diversity. With all due  
25 respect to El Paso, they are a large supplier into

1 Southern California.

2           And I guess what TW would like to do is enhance  
3 our footprint to enable to serve the citizens of  
4 Southern California. So, consider supplier diversity.

5           MR. RHYNE: Thank you. So, the issue you bring  
6 up actually gets maybe to my first sort of deviation,  
7 but maybe a further exploration.

8           The discussion here has been about increasing  
9 the supply, the amount of gas supply to the Southern  
10 System.

11           But I think, Gregg, that you brought up an  
12 interesting question is we have to maybe be more  
13 explicit about where that supply could come from.

14           The Southern California Gas's proposal focuses  
15 on the more western part of the system and would be a  
16 more direct connection to accessing gas that's in  
17 storage.

18           Whereas, these other, the other two proposals  
19 that we have push that pipeline eastern, push it more  
20 towards the Needles/Ehrenberg/Otay Mesa -- not Otay  
21 Mesa, but the eastern border with California. And that  
22 really tends to be about bringing those supplies in at  
23 the border.

24           Is there a tradeoff, in the panelists' minds,  
25 between making that access to storage more accessible or

1 is there a benefit to going one way or another. And  
2 I'll let SoCalGas sort of kick that one off.

3 MS. MUSICH: Thank you. The beauty of our  
4 north/south project is it's not just about storage. And  
5 so, I'm sorry if you thought that was what it's about.  
6 The nice thing is it does give you access to the  
7 storage, but it also gives you access to the Northern El  
8 Paso System, to the TW System, to the Kern River.

9 So it provides, of all of the projects, the  
10 access to the most supply. So, yeah, that's what I  
11 love, and that's why we chose where the pipe is going to  
12 go because it does give us the most supply diversity,  
13 not just from storage, but the interstates.

14 So, if there's a problem on any one pipe, we  
15 have access to all those other ones, as well.

16 MR. RUSSELL: I guess, but to put a very fine  
17 point on it, again, TW's proposal would carry gas from  
18 TW's mainline. It would go south, it would also touch  
19 El Paso, it would touch Southern Star. And then, it  
20 would also link up with El Paso's South Main Line.

21 So, what we would literally be doing is being or  
22 providing a supply header for SoCal's gas system. So,  
23 in other words, instead of one single delivery point off  
24 of TW, there would be actually four delivery points that  
25 SoCal could use in concert, however they'd like to, to

1 complement their system.

2           So, the question is, is \$200 million worth that  
3 one additional supply component, which is storage, and  
4 you're not guaranteed that those molecules of gas are  
5 going to be in the storage system when you need it.

6           MR. SANABRIA: To reiterate what Gregg said,  
7 that's exactly the same as the El Paso proposal. We're  
8 interconnecting with them at Topock, which has  
9 interconnections with TW, PG&E. We're actually adding  
10 compression there to be able to take gas from the SoCal  
11 System, and using our Mojave Line, which touches their  
12 storage interconnections, and route all the way back  
13 down to Ehrenberg.

14           So, it actually does provide exactly the same as  
15 the north-to-south project, again at a significantly  
16 lower cost and, more importantly, a known cost rather  
17 than an unknown cost.

18           But as was pointed out in SoCal's direct  
19 testimony or, excuse me, data request responses, they  
20 did note that this past winter that even if they had the  
21 north/south project, because of the lack of storage it  
22 wouldn't have helped them to get gas down to the  
23 Southern System.

24           The Southern System actually had no issues  
25 because of the fact that they had baseload contracts on



1 El Paso's South Main Line. Which, today, they could go  
2 out and do just as well. We have actually an open  
3 season posted for South Main Line capacity, and open  
4 capacity can go anywhere.

5           So, I think that's -- I think Gregg hits a good  
6 point that they pin storage as an important criteria,  
7 but it isn't the only one. And I think all of the  
8 pipeline projects do give them access to the same  
9 points, at a much significantly lower cost.

10           MR. RHYNE: Okay.

11           MS. MUSICH: Just to be clear on that, it wasn't  
12 that we didn't have enough gas in storage. We weren't  
13 getting any supply into the system. The northern  
14 receipt points weren't getting any supply on those days.

15           And the way we're proposing to handle that is we  
16 do have another application before the CPUC for the low  
17 OFO, as Silas talked about, and that would bring  
18 supplies into our system.

19           So, yeah, the problem wasn't with storage. It  
20 was with the interstates and no gas coming in from  
21 there.

22           MR. PEDERSEN: Ivin? Norman Pedersen, SCGC.  
23 I'd just like to jump in and actually agree with, on the  
24 one hand, Anthony, Gregg, and on the other hand with  
25 Beth.

1           They're making a very good point. Anthony  
2 started out making the point. During this last winter  
3 we had two major adverse weather events. One was at the  
4 beginning of December, one was at the beginning of  
5 February. And folks in this room are very familiar with  
6 those two events.

7           Very importantly, the baseload contracts, and  
8 the memoranda in lieu of contracts that we had in place  
9 solved the problem for the Southern System. We had  
10 supply being delivered into the Southern System.

11           The problem was deliveries into the Northern  
12 System, plus stress on the storage systems of SoCalGas.

13           And so, the problem we had in both December, of  
14 2013, and February of 2014, was in the north. And this  
15 leads us to, really, what I think SCGC is most concerned  
16 about, and that is the question as to whether we really  
17 need build options, as opposed to contractual options,  
18 such as the MILC, such as the baseload contracts.

19           And, very importantly, we're happy to see --  
20 we're happy, very much, thank you Energy Division, for  
21 getting approval of the advice letter on the firm  
22 discounts out.

23           We know have, for this winter, another tool in  
24 the arsenal to deal with the Southern System reliability  
25 issue.

1           MR. RHYNE: So, Norm, that actually brings us  
2 to, I think, the next question quite nicely.

3           Which is, okay, so the discussion to this point  
4 has been about physical solutions to the issue.

5           But, Norm, your initial comments earlier, and  
6 now, again sort of raise the question of are there non-  
7 physical approaches that could solve this? And I think,  
8 Norm, you had suggested that.

9           And I know at one point, in fact SoCalGas had  
10 suggested, had made a filing about having a minimum  
11 delivery requirement into the Southern System, and has  
12 withdrawn that proposal, you know, in favor of this  
13 physical solution.

14           But how might those non-physical solutions sort  
15 of factor in to the eventual sort of solution to the  
16 overall problem here, in Southern California?

17           MS. MUSICH: I think we look at those as more  
18 shorter-term solutions. I can tell you that in the  
19 February 2011 curtailment situation there was no gas to  
20 be had out of El Paso, at any price. And we ended up  
21 curtailing the Southern System in that situation because  
22 there was issues upstream of our system.

23           And so, that's our concern that we have is tying  
24 that entire Southern System to one receipt point. You  
25 know, and that's an example of we think the pipeline,

1 where we can get not only the storage gas, but all those  
2 northern receipt points is a better solution.

3 MR. RHYNE: So, sorry, you say that the gas  
4 wasn't available at any price.

5 MS. MUSICH: Yeah.

6 MR. RHYNE: My understanding was that there was  
7 gas available, but customers weren't willing to pay the  
8 price.

9 MS. MUSICH: I'm talking back in February 2011.

10 MR. RHYNE: Of February, I'm sorry.

11 MS. MUSICH: Going back to that situation.

12 MR. RHYNE: Thank you. Yeah, that --

13 MS. MUSICH: Because there was some well freeze-  
14 offs and that was when all of Arizona and New Mexico was  
15 having problems, and all the way back to Texas.

16 MR. RHYNE: Right.

17 MS. MUSICH: And so, there just wasn't an  
18 ability to get any gas there.

19 MR. RHYNE: Okay, thank you.

20 MR. PEDERSEN: And it's very important, Ivin, to  
21 distinguish between the February 11th event -- the  
22 February event in t 2011, which was the freeze-off  
23 event, from the December 2013 and February 2014 events.  
24 They were very different situations.

25 And the 2011 event was what I was referring to

1 earlier as the force majeure event on the El Paso  
2 System. Yes, there, there were well freeze-ups on the  
3 El Paso System. There was a faltering of delivery on  
4 the El Paso System into the Southern System. We did  
5 have 200 million cubic feet a day, approximately, of  
6 curtailment.

7 I think, is that right, Beth?

8 MS. MUSICH: Yes. But, you know, the core  
9 customers in New Mexico and Arizona, they were  
10 curtailed, as well. There just wasn't any gas.

11 MR. RHYNE: Right, thank you. Just I needed the  
12 clarification to make sure we knew which event we were  
13 talking about.

14 Yes?

15 MR. PEDERSEN: But while we're on that 2011  
16 event, Beth did throw it out there. And what I'd like  
17 to point out, we've gone back and we've taken a look at  
18 freeze-up events. Freeze-up events can happen in  
19 various regions at various times. Sometimes they happen  
20 up in the Rockies, sometimes they happen down in the  
21 southwest. They happen in different regions.

22 But statistically, it looks like they are  
23 something like a 1-in-30 year event.

24 So, if you're just focusing on freeze-ups, and  
25 you're focusing on a \$720 million project, you know, you

1 have to ask yourself are you really going to build that  
2 project for a 1-in-30 event.

3 And, additionally, if you're -- if your answer  
4 is, yes, then the Commission's answer could be, yes, at  
5 least for the core.

6 Well, there are other solutions that we've  
7 pointed out that could be put into place.

8 MR. RHYNE: So, the discussion here, I think has  
9 focused to some extent on, really, this Southern System  
10 minimum. But there may be other issues in play.

11 And I want to sort of shift -- and, actually,  
12 the good news for the Energy Commission is we don't have  
13 that responsibility of making that final determination  
14 as to which of these alternatives are the best for the  
15 State. But the discussion has been very helpful.

16 It does, I think, bring us to stepping beyond  
17 just this one issue and looking, maybe, a little out  
18 further than that.

19 The retirement of San Onofre has added some  
20 stress to the Southern California gas system, without a  
21 doubt.

22 You mentioned the expectation of 2,000 megawatts  
23 of new gas-fired generation coming into the system.

24 Are there any further plans or discussions about  
25 building natural gas pipelines to the coast, near the

1 site where San Onofre now sits, in order to facilitate  
2 that new gas-fired generation facilities for electric  
3 reliability in Southern California?

4 And what about to Baja California, to take  
5 advantage of energy reforms occurring in Mexico that  
6 will open up the electric power generation and gas  
7 sectors?

8 And we'll start with Southern California Gas,  
9 but if any of the other panelists have thoughts, I'd  
10 welcome those as well.

11 MS. MUSICH: So, you know, we know there have  
12 been various proposals put in place to replace the San  
13 Onofre with -- I mean, not completely with natural gas,  
14 but partially with natural gas. And some of those have  
15 been looked at as being near where the SONGS facility  
16 was. But there's other proposals, in many other places.

17 But I can tell you, if a power plant were to be  
18 sited near San Onofre, then we would need some  
19 additional infrastructure to meet those needs.

20 MR. RHYNE: And how large a power plant are we  
21 talking about before you reach that sort of point where  
22 you think you need additional infrastructure?

23 MS. MUSICH: Oh, I don't know that I have that  
24 number off the top of my head.

25 MR. RHYNE: Okay. Any other thoughts, from the

1 other panelists?

2 And what about -- sorry, go ahead, Norm.

3 MR. PEDERSEN: Well, I think you also mentioned  
4 deliveries into Mexico in your question.

5 MR. RHYNE: Right, and that was about what I was  
6 going to do. Yes, go ahead.

7 MR. PEDERSEN: Actually, something that we are  
8 very interested in is what is going on with Mexico.  
9 During the February -- excuse me, the April 16th,  
10 Natural Gas Stakeholder Workshops that you folks had  
11 here, at the Commission, there was a project by, I think  
12 Robert Kennedy, from the Commission staff, about exports  
13 to Mexico and about how he's expecting that they will  
14 tail off or even decline. He said that they would  
15 plateau around 2019 -- after 2019, around 3.5 Bcf.

16 And then he said they could either stay at the  
17 plateau or decline to around 2.5 Bcf.

18 But other things are going on in Mexico. And,  
19 you know, Sempra, of course, has the Costa Azul LNG  
20 facility in Mexico. Right now, it is a gasification  
21 facility designed to bring in imports. But, you know,  
22 it could be turned into a liquefaction facility.

23 And already, the FDRC has approved four  
24 liquefaction export facilities around the United States.

25 It could be turned into a liquefaction facility



1 from which to export gas to other countries.

2 And that leads to options for all of these  
3 pipelines, the North/South Project, the TransWestern  
4 Project, the TransCanada Project, the El Paso Project,  
5 in which we were very interested.

6 You know, there should be no mistake about it,  
7 SDGC really does question the need for the North/South  
8 project to provide for Southern System reliability.

9 But as your question points out, other potential  
10 needs for pipeline infrastructure, and those needs could  
11 be to get gas to Mexico, both to serve electrical  
12 generation requirements and to serve other requirements,  
13 such as to provide gas to an export facility.

14 And, actually, something that SoCalGas -- well,  
15 something that Beth did at the April 16th -- at the  
16 April --

17 MS. MUSICH: I can't remember that far back.

18 MR. PEDERSEN: -- at the April 16th, Natural Gas  
19 Stakeholder Workshop, she presented a slide that  
20 actually was her slide 13. It seems like her slide 13  
21 is always a very interesting slide. It was today and it  
22 was back on April 16th.

23 And actually, Silas, I e-mailed it to you. I  
24 was wondering, did you get it and can you put it up on  
25 the screen?

1           And what it shows, while the slide is popping  
2 up, it shows the North/South Project that would run from  
3 Adelanto to Moreno. I think Beth mentioned that -- or  
4 maybe it was Gwen that mentioned at the outset that,  
5 fundamentally, the SoCalGas system is an east to west  
6 system. But, you know, with the North/South Project,  
7 you'd have this North/South pipeline running from  
8 Adelanto to Moreno.

9           And then, actually, in their Pipeline Safety  
10 Enhancement Plan proposal, which was considered in the  
11 last triennial cost allocation proceeding, they  
12 proposed -- it was taken out of the case and it's  
13 reserved for a future application.

14           But they proposed a major line through San Diego  
15 County that would run from the Rainbow Station all the  
16 way down to South San Diego County. It would be a 36-  
17 inch pipeline. I think it's now called line 3602. And  
18 it's actually, the slide is up on the screen.

19           And you can see that we would have, with both  
20 line 3602 and the North/South Project, we'd have a  
21 cross-cutting line going north and south. We'd have a  
22 path north to south across the SoCalGas system which  
23 would dramatically reconfigure the entire, originally,  
24 east/west trending SoCalGas system.

25           And so, and now I'm -- I should say I'm probably

1 not talking from SDGC's perspective. But, you know, I'm  
2 a personal observer of the natural gas scene and so some  
3 of this is my personal observation.

4 But we could have a very interesting situation  
5 developing where we have demand developing in Mexico.  
6 Yes, electric demand, perhaps other demand, perhaps  
7 demand for deliveries to an export facility, and we have  
8 four, around this table four pipelines that would be  
9 able to take gas, one way or another, down to this new  
10 demand center in Mexico.

11 And it leads you, if you're like us, you think  
12 you really don't need the North/South Project to meet  
13 the Southern System reliability problem, and I'd like to  
14 get back to that at some point.

15 If you don't need it for that, well, there might  
16 still be a point of having it on the platter, in the  
17 mix.

18 And if that's going to be the case, maybe the  
19 way to approach it is to have a let-the-market-decide  
20 situation, kind of like we did back in the early 90's,  
21 when we had the PG&E project, which became line 401, the  
22 Kern River project, we had a variety of projects being  
23 proposed.

24 So, there are -- your question points out that  
25 while there's the discussion about the Southern System

1 reliability problem, there are other potential needs for  
2 additional infrastructure and there may be other  
3 mechanisms to getting that infrastructure in place.

4 MR. RHYNE: Thank you.

5 Would SoCalGas care to comment on that at all?

6 MS. MUSICH: Just that the pipe that he's  
7 talking about, line 3602, would only meet the needs of  
8 San Diego. It's not designed to bring gas into Mexico.  
9 Yeah, it's sized exactly for the San Diego needs.

10 MR. PEDERSEN: And we could discuss that. It  
11 would be designed to loop another line, which would be a  
12 16-inch line. After the looping was completed, the 16-  
13 inch line would be pressure tested, then brought back  
14 into service, so we'd have a 36-inch line and the 16-  
15 inch line both going into San Diego County. And there  
16 is a question as to exactly what the deliverability at  
17 that point would be into South San Diego County.

18 But that is all reserved for a to-be-filed  
19 application at the CPUC.

20 MS. MUSICH: It's certainly not what SoCal and  
21 SDG&E were contemplating.

22 MR. RHYNE: Okay, thank you.

23 So, our next question starts to speak to other  
24 risks that are outside just the reliability question.  
25 So, in constructing new pipelines what risk factors, in

1 the Southern California Region, for this panel, such as  
2 sea level rise, impacts and seismic activity are being  
3 considered in siting and engineering these proposed  
4 pipelines? Not just SoCalGas's, but the other proposed  
5 pipelines.

6 And with the uncertainty posed by climate  
7 change, how are your companies and suppliers accounting  
8 for that risk?

9 Not everyone at once, please.

10 MR. SANABRIA: Well, I know for the Kinder  
11 Morgan project, for looping our Havasu, we're actually  
12 are already planning to loop it as part of an existing  
13 expansion with another customer.

14 So, we're just looking at actually upsizing our  
15 project in order to accommodate SoCalGas. So, based on  
16 that, we've already started to look at those issues.

17 The nice thing, again, about ours is it's a  
18 brown field. We already have a pipeline there. We have  
19 a history of operating there for probably close to 60  
20 years, so we're well-aware of any issues that we will be  
21 facing on that.

22 MR. RHYNE: Thank you.

23 MR. RUSSELL: As far as TW is concerned, you  
24 know, with our project we would be utilizing a lot of  
25 existing right of way. And again, similar to Jim's

1 proposal that, that's not using existing right of way,  
2 is going to very sparsely populated areas. Do not think  
3 we're crossing any fault lines.

4           You know, in our mind, the big risk around this  
5 project is probably cost escalation. And what we put  
6 forward is something that Energy Transfer would look to  
7 take on that cost risk escalation.

8           So, in other words, the proposal we've put  
9 forward to SoCalGas is this is the 20-year term that  
10 we're looking to recover our costs over. And the deal  
11 that we strike, when we cut the contract, as it relates  
12 to facility cost, is what that deal would be. There  
13 would be no escalator. Energy Transfer will bear the  
14 in-service and operations risk with that.

15           MR. RHYNE: Thank you.

16           MR. PEDERSEN: Ivin, your question, I think --  
17 Norman Pedersen, SDGC. Your question gets into, I  
18 think, some environmental phase at the CPUC. As I'm  
19 sure you know, the CPUC is the lead agency for the  
20 North/South Project and there's an energy -- there's an  
21 environmental phase. A CEQA phase is going on before  
22 the Energy Division.

23           MR. RHYNE: Certainly.

24           MR. PEDERSEN: And something that we would look  
25 forward to raising in that environmental phase, in the

1 CEQA portion of the proceeding is why are we building a  
2 pipeline, a gas, a major gas pipeline that's going to  
3 have a service life of 60, 65 years, or longer, when the  
4 State has committed to the policy of reducing greenhouse  
5 gases by 80 percent, by 2050.

6           So, your question does raise a critical issue  
7 that will have to be addressed in this proceeding, and  
8 that is what is the wisdom of customers expending, I  
9 think I said earlier 720 -- it's actually \$620 million.  
10 \$620 million in direct costs currently projected on a  
11 project where we've got another State policy that's  
12 heading the opposite direction, and that's the direction  
13 of decreasing the consumption of fossil fuels, emitting  
14 fuels in California.

15           MR. RHYNE: Thanks, Norm.

16           Jim, I think you had something to add?

17           MR. SCHOENE: Well, we don't have a great deal  
18 of concern over rising sea level risks.

19           (Laughter)

20           MR. SCHOENE: If we have that, then everybody  
21 else has got a big problem before we do.

22           With respect to seismic activity, we've already  
23 collected -- you know, the literature is full and that's  
24 actually where you go, first, to investigate seismic  
25 issues.

1           The biggest thing a pipeline can do is to  
2 identify fault lines, put in heavier-weld pipe at those  
3 fault lines.

4           But moreover, to design its system to detect  
5 pressure loss in discrete segments and simply automate  
6 the shutdown of the pipeline. And I think that's true  
7 of every pipeline, I think, no one would argue that  
8 point.

9           MR. SANABRIA: Tony Sanabria, with Kinder  
10 Morgan.

11           To go back to Norm's point, I think that's one  
12 of the issues that differentiates the three alternative  
13 pipelines from SoCalGas's is ours have distinct end  
14 terms of 20 years.

15           Where our project, they would contract for it,  
16 at the end of 20 years it would be over.

17           As noted by Norm, and a lot of the literature,  
18 California's looking for a lot of renewables, a lot of  
19 changes. No one can predict what will happen, but  
20 committing to a 50 or longer-year-term project versus a  
21 20-year term, and at the end of that 20-year term there  
22 is the right to renew it. So, if you need it for  
23 longer, you can, but you're not obligated, which is a  
24 big difference from, I think, the North-to-South  
25 Project.



1 MR. RHYNE: Okay, thank you.

2 Beth, I think you mentioned that you might have  
3 someone who can speak to that.

4 MS. MUSICH: We do. David Buczkowski. He's  
5 walking this way.

6 MR. RHYNE: And if you'll just make sure that  
7 the microphone is turned on, the little light should be  
8 on there.

9 MR. BUCZKOWSKI: Can you hear me?

10 MR. RHYNE: Yep.

11 MR. BUCZKOWSKI: Well, thank you for the  
12 opportunity to talk, a very interesting discussion.

13 My name's David Buczowski, I'm the Senior  
14 Director of Major Projects for the Southern California  
15 Gas Company.

16 You know, some of the risks that we consider,  
17 that's a good topic because, really, to identify risks  
18 are really how you define the project's scope and really  
19 come up with whether the project cost is known or  
20 unknown.

21 And we've certainly spent quite a bit of work  
22 over the last year and a half doing that for this  
23 project.

24 The biggest risk factors that we've considered,  
25 have been considering are third-party dig-ins, seismic

1 activity, landslides, erosion, wash-outs, similar to the  
2 consideration that El Paso TransCanada and TransWestern  
3 have mentioned.

4           We've actually done quite a bit of work on this.  
5 We've done seismic and geological studies to look at  
6 where the fault lines are. This is standard business,  
7 really, in California and most of the United States.

8           There's lots of engineering solutions for  
9 addressing seismic type of activities. Strength of  
10 pipe, flexibility. Also, what we've been doing is  
11 related to our pipeline safety work. I know, without  
12 talking about it here, but it's putting in automatically  
13 shutoff valves at either side of a fault crossing.

14           With respect to climate change, that's a real  
15 good point, probably with respect to all the  
16 alternatives, rising sea level isn't really an issue  
17 where our pipe is either between 1,000 feet or 4,500  
18 feet in elevation.

19           But, certainly, climate change, additional rain,  
20 more intense rainfalls, meteor type of events are a  
21 major concern. We've studied those and scour studies  
22 looking at where you have, say, a wash. If you have  
23 intense rain in the mountains, that could cause a  
24 washout or erosion of a pipeline. And we look at those  
25 events and make sure that the pipe's got a significant

1 depth to avoid any sort of erosion or conditions, with  
2 the respect to that. That's my comments.

3 MR. RHYNE: Thank you.

4 So, we'll get to the last question before we  
5 open up to any questions from the audience. And this  
6 is, this last question is meant to sort of shift gears  
7 mentally.

8 The proposals on the table really reflect a more  
9 traditional natural gas/fossil fuel supply through  
10 process, which has served California well for a number  
11 of years. But as mentioned, California has a number of  
12 goals that focus on renewable energy. One of the  
13 factors involved in that renewable energy goal is  
14 renewable biomethane.

15 So, are there any thoughts from members at the  
16 table about how biomethane might fit into any of these  
17 infrastructure reliability solutions for the Southern  
18 California system?

19 MS. MUSICH: Well, I think we're always looking  
20 at ways to have those kind of technologies input into  
21 our system, so we're very open to it.

22 MR. RHYNE: And I'll take it from the silence on  
23 the other end of the table that there are no more  
24 comments here.

25 Okay, so with that I'm going to take a -- or

1 we're going to open the floor to the members here in the  
2 audience. Are there any questions for the panelists  
3 related to the Southern California System  
4 infrastructure?

5 Okay, see none, I will look over to our folks  
6 running the WebEx. Are there any questions from online  
7 participants?

8 All right, so we unmuted everyone, so if you  
9 have a question now is the time.

10 All right, so we're not hearing any questions.  
11 This concludes our first panel. I believe next on our  
12 agenda is lunch.

13 So, we're running just a little bit ahead of  
14 time. We're about ten after 11:00 now. I look to Silas  
15 on logistics, how do we want to run this?

16 MR. BAUER: Well, it mostly depends on our next  
17 group of panelist's ability to start early.

18 MR. RHYNE: So, next up we -- after lunch we are  
19 scheduled to have a couple of presentations, which we  
20 could do now. We have the California ISO and Silicone  
21 Valley Power.

22 If they're both here, I'll look -- yeah, I see  
23 Silicone Valley power there in the back.

24 And so we have Greg -- or Brad, I'm sorry? No.

25 So, I would suggest maybe we invite Silicone

1 Valley to give their presentation and after that we can  
2 break for lunch. That will get us at least a little bit  
3 ahead and time us a little better with the normal lunch  
4 hour.

5 MR. BAUER: Okay.

6 MR. RHYNE: So, with that I will thank the  
7 panelists, as our presenter comes up. Thank you very  
8 much for your participation.

9 MR. BAUER: Thank you, Ivin.

10 MR. KENNEDY: I'm Robert Kennedy. I'll be the  
11 moderator for this afternoon's panel discussion.

12 At this time I'd like to introduce Steve Hance,  
13 before he begins his presentation.

14 Steve is the Senior Electric Division Manager of  
15 Resources at Silicon Valley Power. Steve has been  
16 employed at this company for 20 years. And has worked  
17 on the wholesale side of the business, and in  
18 procurement, and in scheduling of the electric and  
19 natural gas supplies, contract negotiations, resource  
20 planning, and power trading.

21 Over the past few years, Steve has expanded into  
22 carbon allowances, RECs, and capacity markets.

23 He also spent time as the Division Manager of  
24 Generation, with responsibility over operation and  
25 maintenance, over gas-fired and hydro-generation

1 projects.

2 MR. HANCE: Thank you. Good morning, instead of  
3 good afternoon, since I got to be a little bit early.

4 I'll give you a brief overview of our utility.  
5 The City of Santa Clara, or Silicone Valley Power is a  
6 POU serving Santa Clara. We've got approximately 52,000  
7 customers, 490 megawatts of peak demand, 3,125 gigawatt  
8 hours of annual generation.

9 We're a fairly high-load factor city due to a  
10 large amount of industrial and large commercial  
11 customers, at about 73 percent, and 90 percent of our  
12 sales go to retail customers, such as industrial and  
13 large commercial.

14 We're also a load-following, metered subsystem,  
15 means we still operate as a vertically-integrated  
16 utility within California, as opposed to selling off our  
17 thermal assets or generation assets in acting as a  
18 merchant.

19 On the supply side, we've got 900 megawatts of  
20 nameplate capacity. About 300 megawatts of that comes  
21 from large hydro, 200 megawatts from wind resources,  
22 about 20 megawatts of solar resources on the utility  
23 side, we also have quite a bit more on the customer  
24 side, 300 megawatts of gas-fired generation, a small  
25 amount of geothermal, small hydro, a little bit of coal,

1 and some landfill gas, as well.

2           On the natural gas-fired generation side, we've  
3 got our Donald Von Raesfeld Plant, commonly called DRV.  
4 It's a combined cycle plant, about 147 megawatts of  
5 nameplate capacity, made up of to 6,000 turbines and a  
6 steam turbine. It operates at base load at about 122  
7 megawatts. It has incremental duct-firing of additional  
8 25 megawatts. The heat rate at base load is about a  
9 7,800 heat rate unit. The incremental duct-firing is  
10 about a 10,000 heat rate unit.

11           We also have some 1980s era simple-cycle  
12 peakers, commonly referred to as Gianera Units 1 and 2.  
13 They're a 25-megawatt, 15,000 heat rate units.

14           We participate in the Lodi Energy Center  
15 Project, developed by NCPA. Our share of that  
16 entitlement's about 72 megawatts of the 300-megawatt  
17 project. Its heat rate's about a 6,800.

18           We also have a small cogen plant. It's a 7-  
19 megawatt plant and it has two, old Alison 501K engines,  
20 about three and a half megawatts, each, that produce  
21 exhaust heat that uses steam that goes to a neighboring  
22 paperboard manufacturer.

23           We also have an interest in the Lodi and Alameda  
24 simple-cycle CT turbines operated by NCPA, very similar  
25 to our Gianera units, 15,000 heat rate. Our share of

1 that project's about 31 and a half megawatts.

2 A little more details on some of these projects.  
3 The simple-cycle CTs, very high heat rate. The capacity  
4 that's typically bid into the CAISO markets is non-spin,  
5 very rarely operate. Energy's available to the CAISO in  
6 other emergency conditions, even though it may be bid  
7 into their market, through terms and conditions in our  
8 metered subsystem agreement.

9 Gianera units, the last significant run was  
10 during the Metcalf Substation event, for voltage support  
11 in the South Bay Area. I think we ran for about three  
12 days following that event, I think the two immediate  
13 days, and then the following week on a higher heat day  
14 when voltage started to sag.

15 Gas for these units, we typically don't procure  
16 any gas in advance of an issue or an order to operate  
17 them. We wait for the ISO's instructions. If they were  
18 to call on them for non-spin, it really would be  
19 difficult to forecast ahead of time whether a 15,000  
20 heat rate unit is going to be needed to run for  
21 emergency needs.

22 Our cogen facility, because we have a steam  
23 house, we typically operate that in a base load mode,  
24 depending on what that steam customer's needs are. We  
25 usually will shut that unit down when they don't have a



1 steam demand. It's self-scheduled with the CAISO and  
2 it's typically a price taker based on its locational  
3 marginal price.

4           The Lodi Energy Center, this plant operates as a  
5 merchant in the ISO's markets. NCPA operates the plant.  
6 It provides energy, spinning reserves, regulation up and  
7 regulation down into the electric market. It became  
8 commercial in 2012. It typically operates as a cycling  
9 or a peaking unit, where it's up and down on a daily  
10 basis, usually one start on a day. We do get some  
11 consecutive day dispatches from the ISO. I think we're  
12 seeing a few more of those recently, with the lack of  
13 hydro, than we have in the past. But we expect it to  
14 operate around a 40- to 50-percent load factor on an  
15 annual basis.

16           Gas is purchased because it operates as a  
17 merchant plant on a daily basis, usually before 0700 in  
18 the morning, before the ISO energy awards are out, and  
19 then there's incremental or purchases-for-sales that are  
20 made after that, once the ISO's energy awards are known.

21           NCPA also has a third-party agreement that  
22 manages their gas balancing needs, where they're  
23 required to give a forecast of their demand around 0700  
24 to them, and then arrangements to buy or sell gas  
25 through that balancing agreement, that agent.

1           Our Donald Von Raesfeld Power Plant, just to  
2 break up the monotony of all tech slides, I put a  
3 picture in there for everybody. It provides local  
4 reliability of our system, voltage support. I think I  
5 talked about the peaking capacity, 147 megawatts.

6           This plant became commercial in 2005, with a  
7 total cost to construct of about \$175 million. It has a  
8 small gas pipeline lateral out to one of PG&E's local  
9 transmission mains.

10           It's operated by SVP. Gas is typically procured  
11 at the PG&E's city gate under annual, monthly, and daily  
12 contracts.

13           We also have a third-party agreement that  
14 provides daily and monthly gas balancing services.

15           The plant operates on daily economics based on a  
16 generator-specific total allowed peak price, and its  
17 marginal cost to generate power based on the PG&E's  
18 daily city gate index, plus it's O&M costs, and any  
19 transport costs.

20           During average to wet hydro conditions, our  
21 plant operates similar to the LAC plant, where it's more  
22 of a peaker. And during dry hydro conditions that we've  
23 seen the last couple of years, we're running more of a  
24 base load mode.

25           It also provides load following services to the

1 MSS.

2 Gas demand is currently easy to forecast since  
3 the project is self-scheduled versus bid into the CAISO  
4 markets, just because we've seen prices on a daily basis  
5 making this plant economical to run, as opposed to  
6 bidding it, we're just self-scheduling it.

7 Because we are -- we normally would do our load  
8 following for our load-following metered subsystem with  
9 hydro resources, due to the lack of water we will  
10 typically use our thermal resources to balance our load  
11 in real time. This causes some error in our daily  
12 forecast burn.

13 The normal gas burn's about 23,000 MMBTUs a day  
14 for this project. The PG&E 2015 gas rate case may cause  
15 a dramatic shift in DVR's current operation. The  
16 proposed rate case calls for a backbone-connected, or  
17 LT-connected generation, differential in price per MMBTU  
18 of about 90 cents. That difference equates to a six to  
19 eight dollar difference in marginal costs between  
20 equivalent heat rate plants.

21 I think we're seeing, in that rate case, a  
22 forecast that a lot of the gas throughput that's  
23 currently going to LT-connected plants to actually shift  
24 to going to backbone-connected plants, and a little less  
25 operation from LT-connected generation.

1           Our gas balancing agreement, we've entered into  
2 one of these for a couple of reasons. As far as  
3 existing staff, it would be nearly impossible for SVP  
4 staff to actually stay within our balancing requirements  
5 because we would have a very small pool, with a lot of  
6 deviation.

7           Being part of a larger pool allows us to have a  
8 little bit more flexibility.

9           It does require SVP to provide the balancing  
10 agent with a monthly forecast. In a monthly forecast we  
11 give them 30 or 31 days of what we expect our daily burn  
12 to be. And then on a daily basis, at 0700 we give them  
13 a forecast of what our next day's expected burn's going  
14 to be. It requires notification to the balancing agent  
15 of any intraday adjustments, if the unit's forced out of  
16 service, or if we're deviating from what our day-head  
17 forecast was, we have to true that up with them. It  
18 usually requires the sale or the purchase of incremental  
19 gas from the balancing agent.

20           The balancing agreement also allows SVP to bring  
21 third-party-procured gas to their pool, so we aren't  
22 obligated just to procure our gas through the balancing  
23 agent. We can contract with Shells, and JP Morgans, and  
24 any other gas seller that we have agreements with. They  
25 nominate that to the gas balancing agent's pool.

1           And then on a daily basis, after we give them  
2 our daily burn forecast, any imbalance between third-  
3 party supply is trued up or cast out with that balancing  
4 agent at the midpoint of the city gate index.

5           The significant differences between forecast gas  
6 burn and after gas burn identified after seven o'clock  
7 on the gas scheduling day almost always work against the  
8 generator. That typically means that the gas market's a  
9 little bit constrained because we're all running a  
10 little higher than we thought, and we're paying index  
11 plus when we're buying gas. And we're almost always  
12 selling gas at index minus when we have to sell it.

13           Gas scheduling versus electric scheduling, and  
14 here we're talking more about the actual scheduling of  
15 the gas versus the procurement. These markets don't  
16 always or they're not necessarily aligned. Gas  
17 scheduling takes place in their own nomination cycles,  
18 or energy scheduling is on the wet preschedule calendar.  
19 Usually, that's identified a year in advance. You  
20 schedule around holidays, you schedule gas on weekends,  
21 usually on a Thursday for a Friday/Saturday delivered  
22 product, and then on a Friday for a Sunday/Monday  
23 delivered product. Where the CAISO markets run on a  
24 365-day-a-year, where bids are due at 10:00 in the  
25 morning and awards are known at 1:00 p.m.

1 CAISO market observes neither of the gas  
2 scheduling or the electric power markets on weekends,  
3 since gas trades as a Saturday through Monday block that  
4 almost always runs into a little bit of a problem when  
5 you're operating units as a peaking unit, because you  
6 have to buy gas as a three-day block, and usually sell  
7 back the Saturday and Sunday gas at a slight loss.

8 On the gas procurement side, we procure our gas,  
9 as I said, I think earlier, at the PG&E city gate as the  
10 delivery point. We procure gas as firm under a standard  
11 NAESB agreement. By buying it firm under a standard  
12 NAESB agreement is still subject to diversions in the  
13 PG&E's gas system. Not always considered a force  
14 majeure event in that case.

15 The only time it's force majeure is if there's  
16 actually interruption of firm transport. That puts the  
17 gas deliverer or whoever we've procured our gas from in  
18 a situation where if they want to use as-available  
19 transport, they can. But they can still face liquidated  
20 damages if they fail to supply.

21 Gas delivery performance from our third-party  
22 providers, in their event that there are firm  
23 curtailments, requires them to prorate our gas on a firm  
24 basis, which means they have to curtail all their non-  
25 firm customers, first. And then they can't cherry pick

1 their firm customers based on the procurement contract  
2 price. So, if we buy gas at \$5.00 and somebody else  
3 bought gas at \$7.00, they can't curtail ours in favor of  
4 the higher-priced contract.

5 We currently, under contract, have about 32,500  
6 MMBTUs a day of physical gas that's to be delivered.

7 Here's a nice graph of our 2014 September burn  
8 forecast or actual burn forecast, and our 2010 actual  
9 burns.

10 You can see back in 2010 it was a much more  
11 normal hydro year in California, where our DVR plant was  
12 typically operating as a weekday peaking plant, and then  
13 shutting down on weekends, and a little bit overnight.

14 And in recent operations we're running at almost  
15 a flat base load of 25,000 a day.

16 Gas procurement concerns. For the most part,  
17 our gas burn forecasts are due to the balancing agent at  
18 7:00 a.m. We usually have to forecast what we're going  
19 to burn about six hours in advance to know -- or in  
20 advance of knowing what the ISO's awards for that  
21 generator may be.

22 This is more of a concern when we're in that  
23 2010 scenario of higher hydro conditions, or if we're  
24 operating the unit more as a peaker.

25 Gas trades on ISE Monday-Friday. I think I

1 talked about this a little bit. The CAISO markets run  
2 seven days a week. In the 2010 scenario this made it  
3 much more difficult to forecast weekend gas burns.  
4 Around some holidays, we're typically scheduling gas or  
5 procuring gas three to four days ahead of knowing what  
6 the ISO energy awards are going to be.

7 Overall, you know, when you are taking a  
8 discount or paying a surplus for gas, on situations like  
9 that, it doesn't really become much of a concern, the  
10 price is relatively minor unless there's actual OFO  
11 orders out.

12 When OFOs are issued, the gas price to create  
13 your bid at the ISO can be drastically different than  
14 what your actual procurement cost of gas is going to be,  
15 depending on if your forecast of what the ISO is going  
16 to dispatch you at is incorrect.

17 Potential solutions that we see is there might  
18 be some way to align the energy scheduling, gas  
19 scheduling and CAISO markets, where we could at least  
20 observe the same holidays or schedule the same blocks of  
21 gas and energy on the same days.

22 There's maybe a potential to go to scheduling  
23 gas an energy one a seven-day-a-week basis. I think the  
24 Intercontinental Exchange trades both financial and  
25 physical gas. There might be the possibility to have



1 the Intercontinental Exchange operate on a seven-day-a-  
2 week basis and have an electronic trading platform for  
3 that type of physical gas.

4           There's also the option of owning storage  
5 rights. Typically, an expensive option. It's probably  
6 most needed for units that operate as peakers and  
7 dispatch very little, and have a hard ability to capture  
8 that cost in your bid to the ISO.

9           Reliability concerns. Non-core gas for electric  
10 generation can always be diverted to core customers.  
11 This always could put the ISO in a situation where those  
12 of us that are generating would have to curtail our  
13 production, either by taking forced outages, or just not  
14 generating. It could be put in the situation where the  
15 ISO then needs to call on other generation. If it's  
16 thermal-based, it could be as high as 15,000 heat rate  
17 plants that are bidding operating reserves into the  
18 market.

19           Those 15,000 heat rate plants more than likely  
20 don't have gas nominated to their facilities.

21           PG&E diversion procedures call for prorated  
22 diversions of their firm customers. They don't look at  
23 generator heat rates, their location, the electric  
24 transmission or any sort of coordination, that I'm aware  
25 of, with the CAISO or other California balancing

1 authorities.

2           There are also issues with the credit received  
3 from diverted gas. If you have firm supply and it's  
4 diverted, you receive a credit from PG&E, but that goes  
5 to the transporter, not necessary the generator. If  
6 you're buying our gas at city gate, the charge for OFO  
7 penalties isn't necessarily aligned with what the ISO's  
8 real-time energy prices are if you don't generate your  
9 costs.

10           Additional reliability, units claimed for  
11 resource adequacy in the ISO have a must-offer  
12 obligation into the market. You're required to bid  
13 these resources, but still face potential diversions.

14           Gas-fired units offering operating reserves,  
15 especially non-spin, have no obligation to actually have  
16 physical gas available, should they be called on. And  
17 they're most likely to be called on when the gas system  
18 is actually stressed.

19           And that's it, thank you all.

20           MR. BAUER: Thank you, Steve.

21           I noticed that Brad walked in. And Brad is the  
22 other person who's going to give an opening presentation  
23 in this natural gas electricity coordination  
24 presentation.

25           I'm thinking that we may want to have lunch and

1 then come back and do that, unless everybody from the  
2 next panel is here, but then we'd go significantly over  
3 the lunch hour.

4 And I'm seeing shaking heads. So, we'll do  
5 lunch now, and then reconvene at 12:45. And Brad will  
6 start out and then we'll move into our panel questions.  
7 So, I'll see you all then, thank you.

8 (Off the record at 11:30 a.m.)

9 (On the record at 12:45 p.m.)

10 MR. BAUER: We're now going to start with the  
11 second half of the opening presentations of the Natural  
12 Gas Electricity Coordination Panel.

13 So, we're going to start with Brad Bouillon,  
14 from the California ISO.

15 And I'm going to turn it over, now, to the  
16 moderator for the panel, Robert Kennedy. So, take it  
17 away, Robert.

18 MR. KENNEDY: All right, thank you, Silas.

19 At this time I'd like every panelist to come on  
20 up and take a seat, along right here, please.

21 I didn't have a chance to do this earlier, but I  
22 just wanted to kind of tee up this issue for the broader  
23 audience, to provide them context.

24 Again, the title of this panel is Natural  
25 Gas/Electricity Coordination and Effects on Natural

1 Gas/Electricity System Reliability.

2           Currently, natural gas-fired generation is the  
3 largest source of power in the State of California,  
4 making up roughly 44 percent of total generation.

5           However, new State, Federal environmental  
6 policies, along with changes in generation output from  
7 both nuclear and hydroelectricity have the potential to  
8 affect future demand for natural gas for power  
9 generation, and may change the role of current and  
10 future natural gas-fired generation facilities in  
11 California.

12           These changes, as they interact with current  
13 market rules and current infrastructure makeup may have  
14 an impact in the way natural gas is reliably supplied  
15 for power generation.

16           California resides at the end of the supply  
17 chain for natural gas and currently imports about 90  
18 percent of its total natural gas needs from outside of  
19 the State.

20           Today, for our panel discussion, we have  
21 assembled a distinguished panel of experts to discuss  
22 challenges and opportunities in the area of natural gas  
23 supply for power generation in the State of California.

24           I would like to introduce Brad Bouillon,  
25 Director of Regional Operation Initiatives at the

1 California Independent Service Operator.

2 Brad currently works, his work is focused on  
3 regional operations initiatives, concentrating on  
4 gas/electric coordination, standards review, performance  
5 management, and bench marking.

6 He also acts as the operational interface for  
7 State, regional, and national topics, as related entity  
8 interfaces.

9 Brad has been with CAISO for more than 17 years,  
10 and worked in the energy industry for over 25 years.

11 Brad is presenting a presentation right now.

12 MR. BOUILLON: Good afternoon, everyone. The  
13 presentation I have is kind of an introduction into the  
14 panel discussion. It's higher level and I'll be talking  
15 about some of the aspects of the topics that we have --  
16 are expecting to cover, coming up.

17 Currently, CAISO works quite extensively with  
18 the gas companies in sharing information and working  
19 towards coordinating our efforts in ensuring both gas  
20 and electric system reliability.

21 At any given time, you know, the gas generation  
22 in California, under CAISO's jurisdiction or control,  
23 could be as much as two-thirds of the market makeup, so  
24 it has a significant impact in our reliability overall.

25 Towards that end, we share information pursuant

1 to a nondisclosure agreement. One of the questions  
2 that's arising today is a discussion of the FERC NOPR.  
3 There's a formal FERC initiative out, talking about  
4 information sharing. And that information sharing  
5 effort is fairly defined. If you read it, it's defined.

6 Our NDA approach is much broader and it allows  
7 us to share a lot more information, and be more  
8 proactive in our communications relative to following  
9 what FERC is heading towards.

10 So, we consider the FERC piece valuable, but  
11 what we're doing is broader and we're fortunate to have  
12 that in place, in our relationships.

13 We send hourly estimated gas burn profiles to  
14 the pipeline companies each day. Those are based on our  
15 day-ahead awards, allowing them to understand potential  
16 impacts for the following day.

17 This is an initiative and we've been doing this  
18 for a while. It's based on our day-ahead awards, like I  
19 said, and it does come out, typically, early to  
20 midafternoon each day, for the following day, giving  
21 enough advance notice to the gas companies to see if  
22 they have any reliability concerns that we could talk  
23 further about.

24 Along the communications side, we actually do  
25 hold quarterly meetings to discuss outage impacts, and

1 also biweekly status calls.

2           The quarterly meetings are formal outage  
3 discussions. We actually do -- this year we actually  
4 held a long-term outage meeting in October, and that  
5 outage meeting goes until December of 2015. And we  
6 actually do ask the gas companies for outages they have  
7 scheduled or are known at that point in time, so we can  
8 incorporate them into our electric planning.

9           So, we do look at the gas outages and then we  
10 look to coordinate related electric generation outages  
11 into those timelines to the best extent possible,  
12 minimizing total down time or disruption to those two  
13 systems.

14           And we actually under -- we have actually  
15 reached out to the gas companies to talk about  
16 rescheduling some outages. And while it's expensive and  
17 a long lead time, we have seen flexibility and support  
18 from the gas companies.

19           Like I said, I'm very proud of our relationship.  
20 It's very, I would say, accommodating to where we can,  
21 where it doesn't jeopardize reliability, we work  
22 together extensively.

23           And then on cold days, we conduct morning  
24 conference calls. We actually conduct them in the  
25 middle of the night and early into the morning trying to

1 be as ahead as possible with our floor-to-floor  
2 communications. Which means our real-time shift  
3 supervisors actually leading that call and we're talking  
4 to their counterpart on the gas side, in real-time about  
5 challenges for the day, forecasts for the day, any  
6 changes in the forecast from what we sent in the burn  
7 rate reports, and any additional information that's come  
8 online, like outages that could affect where the gas is  
9 going to flow.

10           You know about, I just referenced the FERC, the  
11 discussion on communications. FERC has increased their  
12 focus on gas and electric interdependence. They review  
13 actions to improve cold weather grid performance and  
14 they're kind of working for updates on a quarterly basis  
15 on gas and electric coordination.

16           I have appeared on panels, and as I know some of  
17 our gas companies have, as well, with updates to FERC in  
18 the spring and fall time frame. And now, they do formal  
19 quarterly updates, which you have to provide written  
20 status updates to them.

21           They are proposing reforms to improve  
22 coordination of the gas and electric scheduling  
23 timeline. That was referenced in the prior  
24 presentation, as well, in talking about challenges in  
25 gas and electric scheduling.



1           I've got another slide to talk a little bit  
2 about that, a graphic of that.

3           And then the discussion on sharing information  
4 is that last bullet and that's the piece that FERC is  
5 focused on. It's been at a request of one of the ISOs,  
6 actually two of the ISOs to help formalize the  
7 communication and information sharing.

8           And I can tell you that across the country  
9 communication and information sharing is not necessarily  
10 consistent among ISOs. The relationship of ISOs and  
11 their gas companies does differ from ISO to ISO.

12           Just taking a step back and talking about  
13 differences between gas and electricity, you know, this  
14 is common sense to most people in this room, but it may  
15 be new to some newer people.

16           And that is that, you know, gas and electricity  
17 don't flow at the same rate. Gas flows at 25 to 30  
18 miles an hour, maybe a little more depending on who you  
19 talk to or the line structure and design.

20           But electricity essentially flows instantaneous,  
21 very close to the speed of light. And so, it's a big  
22 difference in deliverability when you're trying to  
23 transmit energy that's in gas form in electric form.  
24 They're not apples-to-apples.

25           As a result in timing, we have different true-up

1 methodologies on our two systems, and we have different  
2 timelines associated with the scheduling and that true-  
3 up methodology.

4           Okay, now, here's a busy graphic. I tried to  
5 put as much information one slide as possible.

6           (Laughter)

7           MR. BOUILLON: And what happened is I started out  
8 with four slides and I figured out that I'd be up here  
9 talking a lot longer and really trying to convey a  
10 message.

11           Which, essentially, this slide shows on the top  
12 part is the electric scheduling timeline. On the bottom  
13 part, below the green horizontal line, you have two  
14 lines. You have an orange and a blue. And the orange  
15 is the current timeline for gas scheduling and the  
16 orange is the current timeline for electric scheduling.  
17 So, it's an orange and orange means current.

18           And then blue, and I'm not an expert, is the way  
19 I interpreted the recent FERC order on the gas  
20 armitization (phonetic), coming out of the NAESB  
21 process, their proposed scheduling changes show those  
22 timeline differences, okay.

23           I don't know if I have a laser pointer, but it's  
24 hard to talk about this -- if I take it away from the  
25 mic, I don't think people on the phone will hear me.

1           Thank you. Okay, so if you look at the way the  
2 market is designed, you see on the electric side you  
3 have a 10:00 a.m. This is our market close, so that's  
4 when they start running the electric market.

5           And the 13:00 is our market publishing, when we  
6 publish our day-ahead results.

7           So, it's consistent with the previous  
8 presentation when we were talking about how the electric  
9 schedules get published. They get published at 13:00  
10 and they start on the next day -- oh, excuse me, on the  
11 trade day. So, they start on the trade day.

12           And on the gas side, when you have your timely  
13 cycle at 9:30 in the morning. So, you look that you  
14 close your timely cycle, and then you start your day-  
15 ahead market. So, you have your -- you know what you  
16 paid for the bulk of your gas when you're entering the  
17 day-ahead market.

18           And then, when you close the day-ahead market,  
19 you have your evening cycle so that you can actually buy  
20 makeup gas based on the difference.

21           Now, this works in a market where you have a  
22 predictable day-ahead structure. Meaning, currently our  
23 day-ahead clears 98 to 99 percent of our real-time  
24 energy needs.

25           So that means when your hear real-time, and all

1 those people working, and you see the picture of our  
2 company on the floor, working, they're balancing one to  
3 two percent of the electricity.

4           You understand? So, it's more like fine-tuning,  
5 as opposed to big swings in reliability. So, it makes  
6 the market much more predictable.

7           So when you have that, if you look at the way we  
8 have our structure, it's unique to most ISOs in North  
9 America. Because most ISOs in North America, they want  
10 to give you your day-ahead awards, and then they want  
11 you to go into your timely cycle and buy your gas.

12           Okay, so it's different, it's not apples-to-  
13 apples.

14           But if you look at the way that we're -- the  
15 timing that was being proposed and the changes, so your  
16 timely cycle closes at 15:00 and 19:00. And I  
17 apologize, because everything's Central Standard Time on  
18 the gas side, and I think I've got these times right, so  
19 I'm pretty close.

20           So, you look at the 9:30 goes to 15:00, and the  
21 16:00 goes to 19:00, so it shifts it later in the day.

22           From an electric side, the closer you get to  
23 real-time, the greater your accuracy of your  
24 forecasting, but the less lead time you have to get  
25 generation on, so there's a challenge in how you're

1 going to do that.

2           So, you look at how that time shifts back more  
3 towards the trading day. And then these are your  
4 intraday cycles within the trading day, so that you have  
5 an eight o'clock, and then a 15:00.

6           And then the proposal underneath B is to have  
7 three intradays, an 11:00, a 15:30, and a 20:00, which  
8 is eight o'clock at night.

9           And so, the intraday cycles allow the ability to  
10 buy makeup gas in a formal cycle, depending on timing  
11 and liquidity of the market, obviously, but the ability  
12 to get that makeup gas, if it exists, to make up any  
13 shortfalls. Or in theory, I guess, selling the overages  
14 if you're not balancing or netting in that condition.

15           So, if you can see, again, they don't match.  
16 It's not apples-to-apples.

17           On the ISO side we tried to fit between the  
18 timely and the evening nomination cycle. I'm not saying  
19 that's the best solution. We talked to our participants  
20 and that was the desired outcome, so we matched that.

21           So that when you look at these changes, just  
22 assuming for the sake of argument that the blue lines  
23 become the change, then the ISO would have to decide  
24 whether we're going to shift our day-ahead to fit,  
25 again, between the timely and evening cycles, or whether

1 we're going to become consistent with the East Coast and  
2 we're actually going to try to close our day-ahead  
3 before the -- and giving people time to buy gas in the  
4 timely cycle, based on your day-ahead awards.

5           Okay. But the big point and the takeaway that I  
6 wanted to talk about here is that there's a lot of --  
7 they're not exactly the same. And some of it is by  
8 design and some of it is by history on how it works.

9           But in general, you know, we're trying to come  
10 together and trying to make it work. And I think it  
11 will be one of the questions that I think will come  
12 later on the panel.

13           The final observations I had on this is that  
14 this is something that's relatively new, a couple years  
15 old, but it's changing month over month. As you get new  
16 information, as you get new conditions you actually  
17 adapt and you refine your processes.

18           And I won't go into a lot of detail but, you  
19 know, the challenges we had on February 6th, I think the  
20 one thing we can agree is that, you know, we took a look  
21 at how we communicate and we tried to figure out what we  
22 did right and what we did wrong, and tried to improve on  
23 that.

24           And I think that's the goal of anything we're  
25 doing in this relationship here is that as the market

1 dynamics change, as you get more gas-fired generation,  
2 as you get faster-start gas-fired generation, as you get  
3 more solar penetration, whatever those changes are, you  
4 know, those result in different demands on the gas  
5 system and different demands on the electric system.  
6 And that's where we have to work together to make sure  
7 we balance that reliability objective.

8           Again, the focus is on the future system process  
9 communication improvements, meaning that we're looking  
10 forward as we're going along through this process and  
11 effort, and that it is ongoing.

12           I do have room for questions, but I think these  
13 will kind of carry into the panel discussion. Robert,  
14 right, I think that's fair and then we can talk. And  
15 then there's obviously an open forum, I think, for  
16 questions at the end as well, right, so we can get it in  
17 then. Okay, thank you.

18           MR. KENNEDY: Thank you, Brad.

19           At this time I'd like to name the members on our  
20 panel and introduce those that have not yet been  
21 introduced.

22           We have Brad Bouillon from CAISO. Steven Hance  
23 from Silicon Valley Power.

24           Nick Schlag, Senior Consultant from Energy +  
25 Environmental Economics. Nick joined E3 in 2009, after

1 completing his Masters of Science and Civil and  
2 Environmental Engineering at Stanford University. He  
3 worked at E3 and has focused on the practice areas of  
4 renewables and emerging technology, and resource  
5 planning.

6 In 2014, Mr. Schlag led a study investigating  
7 the adequacy of natural gas infrastructure in the  
8 western interconnection to meet evolving needs of the  
9 electric sector, accounting for changes in operational  
10 needs resulting from coal plant retirements, and growth  
11 of renewable generation.

12 We also have Catherine Elder, Practice Director  
13 for Energy Resource Economics, from Aspen Environmental  
14 Group.

15 Catherine directs the Energy Resource Economics  
16 practiced at Aspen Environmental Group, where she  
17 manages the technical support Aspen provides to  
18 California Energy Commission on electricity and natural  
19 gas issues.

20 Ms. Elder also joined Pacific Gas & Electric,  
21 and worked on both federal and state level industry  
22 restructuring in the late 1980s.

23 In 2010, she authored *Implications of Greater*  
24 *Reliance on Natural Gas for Electricity General for the*  
25 *American Public Power Association.*



1           We also have Gwen Marelli and Beth Musich from  
2 SoCalGas, and also Roger Graham from PG&E.

3           Before I get started here, I'd just like to  
4 remind everyone to please state your name and your  
5 affiliation before you speak.

6           And just to give you an idea how this is going  
7 to go, these questions aren't meant to be rigid in  
8 nature. You're the experts. I encourage you to speak,  
9 give us the benefit of your knowledge and experience.

10          If I feel that you're getting off topic a little  
11 bit, I'll kind of rein everyone back in.

12          And also, I'd like to remind everyone there will  
13 be time at the end for the audience and those online to  
14 ask questions.

15          The first question, just to get things started,  
16 and I would encourage all panelists to kind of weigh in  
17 to get us started here. Just looking at how things are  
18 currently set up here in California, from the  
19 perspective of the panelists what areas have California  
20 successfully coordinated natural gas supply for use in  
21 power generation.

22          Maybe to help you with this question, think  
23 about some of the issues that have arisen in the  
24 northeast and some of the problems that have occurred in  
25 that area, some of which haven't occurred here.

1           Maybe you can speak a little bit to that. And  
2 keep in mind this is the current makeup. We'll be  
3 talking about forward-looking questions later in the  
4 discussion.

5           MR. BOUILLON: Brad Bouillon, California ISO. I  
6 think that some examples of where we successfully  
7 coordinated gas supply includes the part of my  
8 presentation on the gas burn rate reports, which helps  
9 show, in a forward-looking perspective, the anticipated  
10 gas burn rates by region or sub-region for each of the  
11 gas companies that we have a nondisclosure agreement on  
12 file with. And that's provided in a daily basis.

13           And I think that that communication helps change  
14 a reactive relationship into a proactive relationship  
15 where people can ask questions based on forecast.

16           I think that our emphasis on improving  
17 forecasting and getting our day-ahead more accurate  
18 towards the day-ahead, towards the contribution into  
19 real-time has helped also provide stability and  
20 predictability going into real-time for both the  
21 electric and the gas side when we talk to you guys  
22 because our numbers are more reliable that we're sending  
23 you guys.

24           MS. MARELLI: Gwen Marelli, SoCalGas. I just  
25 want to add to what Brad said, is we've seen increased

1 communications from the operator level all the way up to  
2 the senior management. And I think not only on a daily  
3 basis, but very proactive, ahead of the season, so we  
4 really appreciate that.

5 MS. ELDER: I'll jump in and get away from the  
6 microphone a little bit here.

7 You know, in that February 2011 cold snap, and  
8 the curtailments that happened occurred were really a  
9 wake-up call. The ISO, since then, hired Brad Bouillon.  
10 There was not a Brad before that.

11 And the kinds of discussions and the detailed  
12 information sharing on the operational level that are  
13 happening now, were not happening then.

14 When those power plants had to be curtailed in  
15 that February 2011 curtailment, folks in Folsom were  
16 surprised. And today they wouldn't be surprised. So,  
17 that's a huge -- I think that's actually a huge  
18 accomplishment.

19 MR. GRAHAM: Roger Graham, with PG&E. I think  
20 one of the things that works well for us here, in  
21 California, that hasn't been the case in the East Coast,  
22 is that we grew up as a local distribution company,  
23 serving gas-fired generation for essentially most of the  
24 history of our company. So, I think we're a lot more  
25 familiar with a lot of the issues that come with that.

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1           I think I'm also going to talk a little bit  
2 about the next question, you know, what doesn't work so  
3 well. Is, I think Steve mentioned it earlier in his  
4 presentation, just about the liquidity in California.  
5 Or at least the gas markets seem to work, you know, sort  
6 of Monday through Friday and they trade the weekend in a  
7 block. And Brad mentioned there's intraday cycles, even  
8 evening cycles, but they're not very liquid. You know,  
9 not much gas is traded.

10           If you haven't bought your gas by 7:00 a.m.  
11 Houston time, you know, there's not much left.

12           So, I think there needs to be a lot more  
13 liquidity in the later cycles and being able to split up  
14 the weekends.

15           MR. SCHLAG: This is Nick Schlag, with E3. I  
16 certainly don't want to discount the specific  
17 coordination that a lot of the other panelists have  
18 noted. But I also wanted to emphasize or elaborate a  
19 little bit on one of the points that Roger just made.

20           Which is that in California you have, really,  
21 one of the only examples that I can think of, in the  
22 United States, of a deregulated electricity market, with  
23 a really large gas fleet that has gas infrastructure  
24 that's, for the most part, appropriately sized to meet  
25 the needs of not only the consumptive end uses, but also

1 the electric generators.

2           And here, it really helps to compare and  
3 contrast California to some of the other areas around  
4 the United States.

5           In the rest of the west what you have is you  
6 have a lot of vertically integrated electric utilities  
7 who receive service from interstate pipelines, but  
8 because they're vertically integrated they can make the  
9 choice, as an integrated utility, to subscribe to firm  
10 pipeline capacity. And a lot of them have made that  
11 decision.

12           And so, what you have in those instances is a  
13 single entity choosing to pass the cost of pipeline  
14 capacity onto their ratepayers.

15           In California, we have a much different model.  
16 We have the deregulated electricity markets, with  
17 utilities purchasing power from the Cal ISO. And it  
18 looks a lot more like the model for electricity that you  
19 see in the northeast, where there have been a lot of  
20 problems.

21           And I think the big difference or one of the big  
22 differences that you can highlight between, say, New  
23 England or New York, where you've seen prices jump up to  
24 \$100 per MMBTU over the past couple winters, is the fact  
25 that in those markets the model is still one of the firm

1 versus interruptible subscription-to-pipeline capacity.

2           And just because of the simple economics, a lot  
3 of those generators, operating in those environments,  
4 make the decision as a profit-maximizing entity, not to  
5 subscribe to firm capacity.

6           Now, in California we have different planning  
7 standards and design criteria. And Beth and Roger could  
8 speak more closely to what that model looks like.

9           But at the end of the day, we've come up with a  
10 scheme where we pass some of the cost of pipeline  
11 capacity onto the generators that ultimately require  
12 that capacity.

13           And I think that, in and of itself, is a big  
14 success in California.

15           MR. KENNEDY: Would anyone else like to weigh  
16 in?

17           MR. HANCE: On part two, this question where  
18 we're talking about things that might not be working so  
19 well, we do have a significant portion of the gas fleet  
20 that can run on dual fuel. But I don't think there's  
21 really a convenient way of bidding that availability  
22 into the market right now, and there is restrictions on  
23 when we can run on dual fuel. That is a little bit  
24 prescriptive, there has to be either some sort of an  
25 emergency, and that's not really well-defined in the air

1 permit rules.

2 MR. KENNEDY: Thank you. Well, it seems like  
3 everyone beat me to the punch on the second question.

4 Would anyone else like to weigh in on the second  
5 question, which is in what areas has California not been  
6 successful in coordinating natural gas supply for use in  
7 power generation?

8 Anything more to add in that area?

9 Okay, let's move to the next question. And this  
10 is delaying more on a regional basis. And I know we've  
11 covered some of these issues this morning.

12 The issue of synchronizing natural gas supply  
13 with demand from gas-fired powered generation can vary  
14 based on regional circumstances.

15 And in the case of Southern California, the  
16 shutdown of SONGS, in 2012, created a unique challenge.

17 In light of this challenge, what do you see as  
18 the major issues facing Southern California with regards  
19 to the interface of natural gas supply and power  
20 generation?

21 So, I think I'll direct, maybe Beth or Gwen, you  
22 can start us off on this question.

23 MS. MARELLI: Sure. You know, the  
24 decommissioning of SONGS really highlighted to us the  
25 interrelationship between natural gas and electricity.

1           And then the curtailments this past winter  
2 really showed us how much natural gas is part of  
3 electricity reliability.

4           So we learned a lot and, you know, as a result  
5 of the changing marketplace and the dynamics.

6           MR. KENNEDY: Maybe you can talk about how these  
7 things are going to occur in the context of meeting our  
8 RPS Renewable Portfolio Standard of 33 percent renewable  
9 sales by 2020. There's going to be more ramping  
10 requirements in the area to back up renewables. And  
11 there's a lot of things going on with OTC being phased  
12 out. I mentioned SONGS isn't going to be there. Can  
13 you talk a little bit more about that?

14          MS. MARELLI: In terms of -- yeah, so, well it's  
15 a new marketplace. We're going to see different things  
16 happening, the ramp up requirements, the quick  
17 requirement when the renewables are not available.  
18 What's going to happen with the quick starts on our  
19 system and how natural gas -- how natural gas will have  
20 to be, I guess, the backup fuel until more battery or  
21 other means for providing that backup power will be  
22 available.

23          MR. KENNEDY: Would anyone else on the panel  
24 like to weigh in on this question.

25          MR. BOUILLON: This is Brad, from Cal ISO. You



1 kind of asked two questions, one further down, too. So,  
2 I'll kind of get started on it. So, the loss of SONGS,  
3 SONGS was a baseload, 2,200-megawatt non-gas-fired unit.  
4 So, you ended up with shifting 2,200 megawatts  
5 somewhere.

6           And, you know, we've had a lot of renewables  
7 implementation. We've had a lot of variable resources  
8 come online, and I think even more than that 2,200  
9 megawatts since that time. I mean, significantly more.

10           But this was a baseload unit, so you've got to  
11 make up the time where those variable resources are not  
12 producing, and that's where you lean on the gas fleet.

13           Which kind of carries into Robert's second  
14 question about, you know, how does that address the  
15 ramping or the flexible requirements?

16           And I think that there's another aspect, and  
17 that is that when SONGS was generating, there was a  
18 major switch yard that's tied to SONGS. Probably the  
19 most, the largest, most complex switch yard in our  
20 entire system for re-dispatching electricity throughout  
21 the Southern State.

22           And that switch yard, without SONGS, is  
23 virtually idle. I mean, there's almost nothing going  
24 through that switch yard relative to what it was before,  
25 when SONGS was generating.

1           And the fact that SONGS gave us 2,200 megawatts  
2 was valuable. But the fact that you could ship it in  
3 different directions, at any point in time, was the real  
4 value. And that's what you've lost. Not just the  
5 generating megawatts, but the fact that you don't have  
6 any generation there in that switch yard to actually  
7 begin to use the asset to switch energy to where you  
8 need it.

9           And so, from a SoCalGas perspective, my comment  
10 is that it makes more demand locationally-specific for  
11 the gas fleet, for reliability, that we did not have  
12 before. And that's the challenge that came out of the  
13 loss of that unit.

14           MR. KENNEDY: Just to add on that, the way the  
15 SoCal system is comprised, isn't it true that some of  
16 the natural gas-fired generation is connected to the  
17 pipeline system more at a distribution level, rather  
18 than through major backbone pipelines?

19           MS. MUSICH: Yes, some of it's on the  
20 distribution. I think you're probably talking more  
21 about like on the L.A. Loop, which is a transmission  
22 system, but it's below a city gate, so it's operating at  
23 a lower pressure.

24           Different than PG&E, where I think most of their  
25 electric generation is located on their really backbone

1 lines.

2           And, I mean, to that issue about the ramping, if  
3 you get too many of those clustered together, especially  
4 in that L.A. Loop, or that kind of area, you know, you  
5 can have issues where the pressure starts dropping  
6 pretty substantially if multiple quick-start units come  
7 on at the same time.

8           MR. KENNEDY: It's true that when you have these  
9 smaller diameter pipelines, I mean there's more  
10 competition with other sectors, such as residential and  
11 commercial, correct?

12           MS. MUSICH: Sure. Yeah, obviously, you know,  
13 the bigger the line, the more pack that you have in the  
14 line and the more ability you have to deal with swings  
15 in the load. So, yeah, as you get to the end of the  
16 system, you know, if you're at the very top or the very  
17 bottom of the system, you have less ability to deal with  
18 rapid changes in load.

19           MS. ELDER: There, I turn myself on, turn myself  
20 off, you know.

21           (Laughter)

22           MS. ELDER: Caty Elder, with Aspen. You know, I  
23 was going to pick up this point that Beth, Robert just  
24 got Beth to make which was to say, you know, that you  
25 really have a different configuration north versus

1 south, and the relationship of the large-diameter pipes,  
2 and the positions of the power plants, themselves.

3           And we don't tend to think about that. We tend  
4 to think, oh, we've got gas-fired generation with PG&E  
5 and we've got the gas-fired generation on SoCal, but  
6 they're really different systems in that respect.

7           The other point, to pick up what Brad was making  
8 the point about, that switch yard at SONGS. And I  
9 remember being at, I think it was NCPA's annual  
10 conference, just about two years ago, right after the  
11 August or September outage in San Diego, that was caused  
12 by the flip of the switch, or whatever it was on the APS  
13 substation over on the Colorado River.

14           And I remember Berberich being at that  
15 conference and saying had it not been for SONGS and the  
16 gas-fired generation in San Diego, we would not have  
17 been able to bring that system back from a cold start as  
18 quickly as we did. And so, that was really important.

19           The irony is that the best place, obviously, to  
20 replace that generation would be to put a gas-fired  
21 power plant right there, at the beach at SONGS. That's  
22 not going to ever happen in my lifetime, I think. I've  
23 heard that the Navy wants the land back, among other  
24 problems that might present themselves.

25           The other problem is, is if you actually look at

1 a detailed map of the Semptra system, there's not great  
2 gas access at that particular location. You've got it  
3 at Carlsbad and Encina, but you don't have it north of  
4 there, right along the beach.

5           So, we'd like to make use of that  
6 infrastructure, but it doesn't look like we're going to  
7 get to.

8           MR. KENNEDY: I've also heard that SONGS  
9 provided a lot of inertia and aided with power quality.  
10 Can you speak a little bit on what role natural gas-  
11 fired generation going to play in terms of providing the  
12 transmission support between L.A. Basin and San Diego?

13           MR. BOUILLARD: I can speak a little bit to  
14 that. I mean, you've seen some changes. There's been  
15 some synchronous condensers installed and there's a --  
16 and then you still have to have baseload fossil, with  
17 inertia behind it to maintain stability out of voltage.

18           And I think that you see a mix of that in the  
19 Southern System, but it's not as clear cut as you had in  
20 the past, when you had the reliable baseload of a nuke.

21           I'm not saying good or bad, but you have to make  
22 that up somewhere because you have to manage the energy  
23 output, the actual piece, plus the voltage stability for  
24 local support.

25           MR. KENNEDY: I'd like to move along. We

1 touched on the Northern System and out the PG&E system  
2 is comprised a little bit differently than SoCalGas.  
3 Maybe we can talk about that in the context of how  
4 hydroelectricity, that's been tailing off with the  
5 drought, and what upcoming challenges there are as far  
6 as implementing renewables.

7 Can someone from PG&E speak to that, please?

8 MR. GRAHAM: Well, I think the good news was, as  
9 the hydro production went down, there was a lot more  
10 renewables. We didn't see nearly as much gas-fired  
11 generation come onto the system this year, as we have  
12 seen in prior dry hydro conditions. And I think that's  
13 a lot because there is that renewable resources that  
14 have filled in.

15 We've done a quite a bit of studying, looking at  
16 these issues of ramp rates on our system, as well.  
17 Everything we've studied at this point leads us to  
18 believe it's not going to be a problem.

19 And the reason that that has been is that the  
20 ramp, the really extreme ramp rates that we have seen  
21 for electric gen occur in the afternoon, and not in the  
22 early morning. If there's some technology or something  
23 that happens with these renewables, where we start  
24 seeing large ramp rates in the morning, and gas-fired  
25 generation coming on coincident with our residential

1 morning peaks, that would definitely cause significant  
2 problems on our system.

3           So, that's something that we keep looking for to  
4 see, you know, if charging electric vehicles or, you  
5 know, wind generation -- you know, you forecast this  
6 stuff out there and you think this is how it's all going  
7 to unfold and, you know, when you get there it probably  
8 will be different.

9           But kind of looking forward to things that could  
10 have an impact on our system is if we start seeing more  
11 peak in the early mornings.

12           MR. KENNEDY: You mentioned the ramp rate. It's  
13 true that you have a lot of power generation connected  
14 to a larger diameter backbone lines. Can you talk a  
15 little bit about that and what role that plays in  
16 balancing gas supply for power generation?

17           MR. GRAHAM: Yeah, so on our system, you know,  
18 like SoCal's, we have some really big, long line  
19 pipelines that go out to the State border to bring the  
20 interstate supplies into our system. And they're very  
21 large, very large pipelines, to the extent that a single  
22 power plant on them, you know, it's kind of noticeable  
23 to our gas controllers but, nah, not really that  
24 interesting, you know, they are so big.

25           But if you get those same power plants off into

1 the local transmission system, it becomes a big problem.

2 PG&E has had a differentiated rate between what  
3 our end-use customers pay, if they're directly connected  
4 to the backbone facilities versus what they pay if  
5 they're connected to the local transmission system.

6 And that has incited power generation, the new  
7 fleets that come on after, you know, in the 2000s, to  
8 site on our backbone system, which is a lot more --  
9 there's a lot more flexibility there on how we serve  
10 them.

11 MR. KENNEDY: And there's less competition for  
12 gas on those pipelines because the most competition  
13 occur on the smaller diameter distribution lines?

14 MR. GRAHAM: Well, there's the same competition  
15 because the backbone system is used to supply --

16 MR. KENNEDY: To supply, right.

17 MR. GRAHAM: -- the people who are buying gas  
18 for the residential customers, the commercial customers,  
19 and the industrial customers. But it's just that their  
20 capacity is so much bigger that that competition  
21 doesn't, you know, really have a significant impact.

22 MR. KENNEDY: Sorry, I'm going to shift gears a  
23 little bit right here and talk more about some of the  
24 market rules.

25 The polar vortex occurred in the winter of 2013



1 and 2014, and caused unseasonably cold weather outside  
2 of California, and as a subsequent -- in a subsequent  
3 rise in demand for gas to heat homes and businesses,  
4 higher demand outside of California resulted in higher  
5 prices in those markets, which prompted increased gas  
6 loads away from California.

7           This led to supply shortages and one day in  
8 February curtailments on electric generation facilities  
9 in California.

10           These events highlighted possible problems with  
11 the way electric generation fuel costs are recovered and  
12 the way natural gas is purchased during extreme weather  
13 events.

14           What could be done to avoid such risk in the  
15 future?

16           And the way I see it is just really highlight  
17 the need and Brad, you mentioned this, coordination and  
18 communication between pipeline operators and also Cal  
19 ISO.

20           I know there's some amendments being proposed to  
21 change the way costs are recovered to allow electric  
22 generators to put OFO bids -- to work OFO penalties into  
23 their bids.

24           Maybe Brad, you can talk about this a little  
25 bit.

1           MR. BOUILLON: So, a couple of things have  
2 changed and I'll talk a little bit about it seems like  
3 when you looked at competition for gas, originally, it  
4 was relatively local, then it kind of expanded to sub-  
5 regional, then it went to regional

6           And now, with the infrastructure, it looks like  
7 you're competing for natural gas across the country.  
8 Meaning that if you have prices that are high enough in  
9 the northeast, people will leave our system because they  
10 can somehow make money getting that gas east.

11           And I think that that has really highlighted the  
12 importance of incenting or reflecting the need to keep  
13 gas in our area for reliability.

14           And I think if you looked at February 6th, in  
15 particular, it wasn't particularly cold in the northeast  
16 on February 6th. January was the worst month.

17           The FERC report on solar vortex actually  
18 excluded California. I don't know if you read that, but  
19 in one of the pages California was not in that report  
20 for the polar vortex.

21           But February 6th was a day, if you remember I  
22 believe that was the Super Bowl Parade for the Seattle  
23 Seahawks, and if you watch how they were dressed, it was  
24 like 23 degrees in Seattle, which is like unheard of.

25           And what you saw was an entire Western U.S. cold

1 snap. And so the competition for the gas, while it may  
2 not have been going east, was competing amongst the  
3 whole Western U.S., and I think that created some  
4 challenges.

5 Now, it was a combination of events that led to  
6 the problem. One was the gas price run-up was very  
7 short, meaning it happened -- I don't want to say  
8 instantaneous, but it happened over a very narrow period  
9 of time and our markets couldn't reflect those prices.

10 So, one of the tools that you're talking about,  
11 better reflecting prices, was the ability to say how do  
12 we incorporate that change in fuel cost. And that's an  
13 initiative that is in process right now.

14 The second one was, when you're talking with the  
15 gas companies how do you get away to say, if you're  
16 really working for reliability, how do you make sure  
17 that you can get a generator on that is going to be  
18 beneficial to the gas side and the electric side. And  
19 I'll say beneficial, let's say neutral to the gas side  
20 and beneficial to the electric side, meaning it does not  
21 harm it.

22 And that was that initiative that you had  
23 referred to, Robert, on the OFO piece. And there's a  
24 call on that, on Friday.

25 But I can tell you that looking at a condition,

1 where you're in an emergency like February 6th, like you  
2 were talking about, a reliability event where we're  
3 actively communicating with the gas companies and we're  
4 talking. While people saw that as a Southern Cal  
5 challenge, we were actually actively talking to PG&E, as  
6 well, because it's a California challenge. Which is,  
7 how do you keep the lights on across the State? Not  
8 just in the southern area, but how can we balance  
9 generation to get the megawatts electrically to flow, to  
10 keep the lights on by backstopping it in PG&E's area,  
11 for example.

12 And that got into discussion of the OFO piece  
13 you were talking about. And a way to address that is to  
14 look at conditions where we're mutually discussing  
15 resources, or mutually agreeing to resources that can  
16 run without damaging the liability on the gas side,  
17 while putting out megawatts that help the electric side.

18 And remember, this is reliability, and not  
19 markets, the way that we operate 99 percent of the time.

20 MR. KENNEDY: I know, as you mentioned, there  
21 were problems getting gas into Southern California. In  
22 some cases, I know there were curtailment issues, and  
23 Cal ISO wasn't notified. And Cal ISO saw that a  
24 facility went down and so they dispatched a couple more  
25 to make up for that.

1           And that resulted in a greater draw down on gas,  
2 on the pipelines.

3           What's being done as far as coordinating the  
4 discussions between that?

5           MR. BOUILLON: I think it's fair to say that,  
6 you know, this was an anomalous event, because we  
7 communicate all the time.

8           In this one event, what happened is I think you  
9 guys saw a sudden draw down and you were reacting to it.  
10 And our system re-dispatches automatically. So, if you  
11 lose -- that's the big deal is from the electric side,  
12 our system is automated.

13           So what happens is, if we lose a gas unit, and  
14 let's just not say it had nothing to do with February  
15 6th. Let's say that Encina had a compressor problem and  
16 it tripped their whole unit offline, our software would  
17 do the exact same thing, it would re-dispatch  
18 automatically, based on our merit stack, and give the --  
19 and bring on all the units that were economic based on  
20 the needed output. That's all automatic and it happens  
21 instantaneously.

22           So, on February 6th, when that happened, we  
23 actually were talking to you guys within, I believe, 6  
24 or 9 minutes of that event. I mean, it was very quick.  
25 While it wasn't proactive in that case, it was within 6

1 or 9 minutes, and then we talked proactive the rest of  
2 the day.

3 So, I would say that that could be a lesson  
4 learned. But I also want to say that, you know, it was  
5 not like we weren't talking to each other. We were  
6 doing a pretty good job of communicating. It's that,  
7 you know, working on it collectively and  
8 collaboratively, in a prospective approach going forward  
9 is something that we've really stressed.

10 MR. GRAHAM: I just want to add a little bit to  
11 this. One of the things at PG&E, that we constantly  
12 struggle with is how tight to make our balancing  
13 procedures.

14 You've got to remember that only about a third  
15 of the gas in our system we own, and only about a third  
16 of the gas in the system goes to electric generation.  
17 There's two other very large markets that operate on our  
18 gas system, you know, the residential market, small  
19 commercial, as well as the industrial market.

20 And, you know, some of those markets are maybe  
21 more predictable than the electric gen.

22 We don't want to really clamp down on our  
23 balancing rules by making everybody balance within, you  
24 know, five percent every single day, because it's very  
25 disruptive to the other markets in the system to require

1 that, when it's not needed, you know, 80 or 85 percent  
2 of the days of the year.

3 Our system can naturally deal with the natural  
4 diversity among those markets very easily.

5 But, you know, how do you then sort of quickly  
6 switch and require more stringent requirements for  
7 bringing gas in to match your use.

8 And, you know, we use operational flow orders.  
9 Though, you know, they're imperfect, mainly because we  
10 have to call them the day before, you have less  
11 information. Our market not only wants us to call it  
12 the day before, early the day before. When the gas  
13 trading is done, you know, at 7:00, 8:00 a.m., you know,  
14 they want to know for the next day that we're going to  
15 have a problem.

16 You know, we're not that good a forecasting and,  
17 you know -- but we hate to -- we've had this discussion  
18 of, you know, maybe it's time to go to daily balancing  
19 for everybody, just make that just the norm. Well,  
20 that's very disruptive for all the other markets,  
21 disruptive for the electric generation market 80 or 90  
22 percent of the days when, you know, the systems can  
23 accommodate it.

24 So, that's a tension that's out there that needs  
25 to be kind of recognized. And, you know, how tight do

1 you want to make things.

2 MR. KENNEDY: That kind of led into my next  
3 question, referring to FERC's Notice of Proposed  
4 Rulemaking to adjust the gas day. They're proposing a  
5 2:00 a.m. California time --

6 MR. BOUILLON: Yeah.

7 MR. KENNEDY: Right. And for the day ahead, it  
8 would start later at 11:00 a.m., right?

9 MR. BOUILLON: That's a possible outcome.  
10 Because we'll, a stakeholder that -- assuming that  
11 happened, what you're talking about, we're going to  
12 actually stakeholder whether we want to continue our  
13 design of having it in between the timely and evening  
14 cycle or do we want to shift it before the timely cycles  
15 start -- or close, excuse me, timely cycle close.

16 MR. KENNEDY: Okay. And it's also proposing  
17 going from two to four intraday nomination cycles.

18 I'd like, if the panel, if they can kind of  
19 weigh in on how you -- because I'd like to hear both on  
20 the natural gas side and on electricity generation side  
21 how you feel that would affect your business.

22 MR. HANCE: This is Steve Hance, with Silicon  
23 Valley Power.

24 I think from an electric generation side it's  
25 kind of a chicken-and-egg issue. If you move the timely



1 nomination cycle, what will likely happen is gas will  
2 likely trade later. You know, will you actually have a  
3 good index price for your physical gas you want to  
4 purchase to use in order to bid into the market or, you  
5 know, do you leave it alone, where it is now, where  
6 you've got a good index on where gas trades on most  
7 days, but then you have a six-hour lag before you know  
8 where your awards are.

9           And it's kind of -- you know, there's that six-  
10 hour window between the ISO market and where gas trades  
11 now. You could probably tighten up a little bit, but I  
12 think by moving the timely cycle to 2:00 in the  
13 afternoon, now, you may cause gas to physically trade in  
14 kind of the western markets at a point after our bids  
15 are due, and then we're going to be kind of flying blind  
16 on what we use as an index price for our gas generation.

17           MR. GRAHAM: That's interesting whether the  
18 trading will actually change. I know that was FERC's  
19 hope in moving some of the cycles later. But, again,  
20 nationwide gas-fired generation is even smaller than  
21 one-third of the market.

22           You know, there's other people, other  
23 participants in the market, like the LDCs, buying for  
24 their residential customers, who are going to get out  
25 their early. They want the gas, they're willing to bid

1 up the gas. And if the electric gens aren't there  
2 early, you know, if they want to try to trade that gas a  
3 little bit later, you know, other market participants  
4 are going to go in and buy it.

5           So, I'm not sure it's going to really move gas  
6 trading any later. I mean, it kind of trades on  
7 Houston time and it's moved slightly earlier than 8:00  
8 a.m., as the early bird gets the worm, right, the  
9 trading in Houston has move to slightly before 8:00  
10 a.m., maybe even as early as 7:00 a.m. Houston time,  
11 now. It's been moving earlier, not later, even though  
12 the timely nomination deadline hasn't changed.

13           So, I don't think that's going to change much,  
14 myself.

15           PG&E is quite concerned, though, with the  
16 proposal to change the start of the gas day. Moving  
17 that to the middle of night, PG&E believes, is really a  
18 dangerous thing to do. There's safety implications and  
19 I think there's reliability implications, especially for  
20 the West Coast utilities.

21           As we reconfigure our system each day to go  
22 from, you know, the interconnects, whether it's gas  
23 coming into the State, whether it's being gas injected  
24 for storage, or withdrawn, a lot of those changes are  
25 manual operations. We actually have to send people to

1 the field to start and stop certain compressor stations.  
2 The same with some of the storage facilities that  
3 require manual operations. Trying to do those things at  
4 2:00, 3:00, 4:00 in the morning, you know, just isn't  
5 the right time to be doing those type of critical  
6 operations in your system.

7 MR. KENNEDY: Just to piggy back on that  
8 question, FERC is also proposing some other measures to  
9 address this issue. Some are other types of  
10 transmission services and cost allocation schemes.  
11 They're even proposing an electronic bulletin board for  
12 the natural gas system.

13 Would anyone like to weigh in on how you feel  
14 that might affect operations out in California?

15 Go ahead.

16 MR. BOUILLON: This is Brad, from Cal ISO. I  
17 mean, I can kind of talk about how I think it can work,  
18 but then there's the reality of how people are actually  
19 doing business, how they're transacting.

20 And looking at the proposed changes, the concern  
21 I have is how much of it is actually going to improve,  
22 and I'll be selfish, out here on the West Coast, how  
23 much is it going to actually improve what we do? How  
24 much is it going to actually make it more liquid and  
25 give you better opportunities, as a consumer, to say,

1 okay, I can buy gas when I need it, without having to  
2 pay 33 percent more, or buy it before you know what your  
3 nominations are to figure out what you have to match to,  
4 what you have to nominate to and match.

5           And from my perspective, you know, I looked at  
6 the timing, I looked at the gas day start. We're lucky  
7 because the gas day is based on Central Standard Time,  
8 so we gain two hours over whatever time they put. And  
9 so, in this case, they put 4:00 a.m., which is 2:00 a.m.  
10 which you hear PG&E's discussion on, from Roger.

11           But, you know, right now, we have two hours,  
12 actually three hours of a shorter gas day into the next  
13 day than New England does, and that's one of their  
14 concerns.

15           And so, everything that pulls forward, pulls  
16 forward by the three hours.

17           I see the timing of the intradays as the  
18 valuable piece to possibly offset the gas day change if  
19 they're liquid enough. And that was another concern is,  
20 you know, if you have liquidity, if there's active  
21 participation in those markets.

22           Because if you offer an evening intraday cycle  
23 that is after the evening load pull on the electric  
24 side, you give people an opportunity to make up their  
25 gas and carry it into the next day. Thereby, in my

1 opinion, mitigating the effects of that day carry-  
2 forward. I'm not saying eliminate, but let's just say  
3 minimizing it.

4 And so, if you had an active cycle that was late  
5 in the evening, like is being proposed under that NOPR,  
6 and people are participating in it, I think you could  
7 make it less of a concern, the gas day start.

8 And so, to me, that's one of the things I'm  
9 interested in exploring. And I've discussed that with  
10 the other ISOs under a group that is an ISO RTO Council  
11 Group, exploring what are alternatives, and what can you  
12 focus on.

13 And again, if you've looked at the testimony  
14 that I've provided, Cal ISO is neutral as to the gas day  
15 start, meaning we're not -- we're agreeing to any of the  
16 gas day starts. Status quo we agree to, and we agree to  
17 everything up to the early start times. Because from an  
18 electric market stand point, the impact is negligible to  
19 us from that start.

20 MR. SCHLAG: Robert?

21 MR. KENNEDY: Go ahead, Nick.

22 MR. SCHLAG: I just wanted to add a few  
23 comments. I'm not going to comment specifically on the  
24 pieces of the NOPR, or its individual components.

25 But from my perspective, you know, the State's

1 well on its way to meeting 33-percent renewables, and  
2 that's a big change. We can already see how gas  
3 generators are moving from sort of operating more on  
4 baseload or intermediate capacities to being used as  
5 balancing resources.

6           And what that means is there's more uncertainty  
7 in how gas generators might be dispatched. There's more  
8 variability in how they're dispatched.

9           And to that extent, the conventions of gas  
10 scheduling, and nominations, and things like that, they  
11 act in some ways to introduce friction between those two  
12 industries.

13           And so, for example, the idea of increasing the  
14 number of intraday schedule nomination cycles from two  
15 to four, again if they have sufficient liquidity,  
16 provides opportunities to correct for changing  
17 conditions with renewable output and to facilitate  
18 renewable integration.

19           And so, while I don't have sort of the be  
20 all/end all answer to whether FERC's NOPR is exactly the  
21 right way to go, I think it's really important to  
22 remember that at least investigating these types of  
23 changes can be a facilitator of renewable integration  
24 and help mitigate costs to ratepayers.

25           MR. KENNEDY: And that's a good segue into my

1 next question. I wanted to talk about the intermittent,  
2 must-take renewable sources. And I know you looked into  
3 this quite extensively in your study, referring  
4 specifically to the duck curve that Cal ISO put out. We  
5 know that there will be a lot of minimum net load that  
6 would be met by natural gas-fired generation, and then a  
7 significant ramp in the afternoon.

8 Can the panel talk about what this will mean for  
9 the natural gas infrastructure, as far as its ability to  
10 meet these ramping requirements and to operate at  
11 minimum load and possible over-generation during the  
12 middle of the day?

13 And just what I'm getting at here, as we all  
14 know, we're going to need a facility back there that can  
15 ramp up significantly, and also in a short amount of  
16 time. And these are units that are going to be attached  
17 to natural gas pipeline.

18 I know there's been some studies that have  
19 looked into this. Can you talk a little bit about that?

20 MR. GRAHAM: For PG&E's system, the duck curve's  
21 not a bad deal. It actually provides some more time for  
22 our system to recuperate during the day for the winter  
23 draw. I mean, a gas system has a lot of flexibility and  
24 we carry, in our system, 4 billion cubic feet of  
25 inventory.

1           I mean, you know, the pipes, they're long and  
2 they have a lot of gas in them. And they can operate,  
3 at least on our system, between a fairly significant  
4 pressure range between the maximum pressure and the  
5 minimum pressure that we need to maintain to serve our  
6 customers.

7           And that difference, that swing in inventory is  
8 kind of a one-shot deal, though. It provides lots of  
9 flexibility, but once it's drawn down, you know, it  
10 can't be replaced until the demand that drew it down  
11 goes away. And so, it actually is somewhat helpful for  
12 our system that after we see the really large morning  
13 peak for our residential gas load, you know, to have a  
14 breather. The system pressures then come back up and  
15 then it's even a little bit easier to serve an evening  
16 peak.

17           The type of ramp rates we're seeing in the  
18 simulations are not a whole lot different than the ramp  
19 rates we see for residential load. I mean, it comes on  
20 quite quickly in the morning. You know, not a lot of --  
21 especially in California we're not seeing a lot of  
22 furnaces, a lot of heating load at, you know, 2:00 a.m.,  
23 3:00 a.m., 4:00 a.m. You know, it's not that cold here.

24           But when people get up, they like a warm house  
25 and they turn on their heaters. And, you know, a lot of



1 us operate on the same schedules, you know, plus or  
2 minus a half-an-hour, or an hour. And that ramp rate's  
3 pretty dramatic on our systems.

4 And, you know, our systems were designed to meet  
5 that. You know, grew up sizing our facilities to meet  
6 that very predictable ramp rates. But, you know, so  
7 luckily we have the facilities there that we can -- if  
8 they're not being used by the residential market, you  
9 know, can be used to serve the electric gen market.

10 MS. MUSICH: Yeah, I think it's locational-  
11 specific as to how that works. We do have a number of  
12 quick start units already on our system, including like  
13 an 800-megawatt peaker plant on the Southern System, of  
14 course.

15 But, you know, we've managed to deal with it so  
16 far. But, you know, we do get concerned depending on  
17 where it is on our system. And I think part of it is  
18 going to be a learning curve for our gas control, and  
19 getting used to seeing things where pressures are diving  
20 quite quickly, and distinguishing that that's a quick  
21 start coming on, and not a line break, or something like  
22 that. So, you know, or just realizing that eventually  
23 that straight downward pressure will bottom out and  
24 level off.

25 So, yeah, so I think it's educational and

1 location-specific as far as for SoCalGas and SDG&E.

2 MR. KENNEDY: That addresses the ramping issues.  
3 Maybe you can talk a little bit about the intermittent  
4 issues.

5 You know, there's an opportunity to repack your  
6 lines during the middle of the day, when there's a lot  
7 of renewable generation. However, in the event there's  
8 overcast or wind generation goes down, can you talk a  
9 little bit about how that might affect the system?

10 Brad, I know there's been improvements in  
11 forecasting renewable generation. Maybe we can talk  
12 about that on the natural gas supply side, as well.

13 MR. BOUILLON: This is Brad. I'm trying to  
14 think of how to carry this from -- from Cal ISO's  
15 perspective, when you're looking at the repowering of  
16 generation, which there's a lot of it, including the  
17 once-through cooling, as the repowering starts for  
18 those.

19 People are typically repowering into these fast-  
20 start units that Gwen -- excuse me, Beth had just talked  
21 about. And that is that when they're repowering,  
22 they're going into units that draw really quickly on the  
23 system.

24 And that, actually, is consistent with the  
25 vision of California, moving forward with natural gas as

1 kind of a backstop for renewables, and the variability  
2 of the gas has to be dynamic enough to adapt to those  
3 changes in those renewables.

4           So, I don't necessarily see it as inconsistent.  
5 The challenge is going to be how do we accept it and  
6 integrate it into a solution that the gas side can work  
7 with that doesn't jeopardize reliability on the gas  
8 side.

9           If you look at our solar ramp in California, we  
10 are about, I don't know, just under three hours. I  
11 think it's two and a half hours, and we make about 4,600  
12 megawatts in about two and a half hours. And that  
13 typically shifts, obviously, throughout the year as the  
14 daylight sunrise times change.

15           But when you look at that and overlay that to  
16 the core piece that Roger talked about, which is how  
17 does core gas demand happen?

18           As you start to see the core come up on the gas  
19 demand, you start to see the solar ramp for parts of the  
20 year, so you actually see it helping. It actually helps  
21 on the gas side, in some instances.

22           But in the fall/wintertime, and particularly  
23 February 6th, for example, the solar was ramping out  
24 right in the middle of the evening load pull. And so,  
25 when you saw that you had, you know, a normal load pull,

1 but then you also had that exacerbated because all your  
2 solar was coming off.

3           And back then I think it was like, I don't know,  
4 it was 3,000 megawatts of solar, roughly. Now, it's  
5 4,300 megawatts right now, on average, that you're  
6 seeing. And our high is in the 5,000 range, right at  
7 five.

8           And as you see what's coming on, it's going to  
9 become steeper and steeper as you see more and more  
10 decline off.

11           And the challenge, in my opinion, is going to be  
12 related to how do you carry that cutoff of the solar,  
13 because that's our big player, to flatten that decline  
14 out so that you don't have that challenge in your  
15 ramping.

16           So, I think we have to do a combination of  
17 things. It's not just gas fast-start, recovering, and  
18 back-stopping the renewables, because I think the  
19 technology is there.

20           While its emissions has slowed California's  
21 response a little bit, I think that helps the gas  
22 company to say, oh, it's ten minutes to 100-megawatts  
23 per unit, as opposed to six minutes to 100-megawatts per  
24 unit. So, unconstrained, those units can actually make  
25 it. And you put them in series, you can go zero to 800

1 megawatts in six minutes.

2           And so, the ten minutes is great because we got  
3 a diversity in your fleet, we've got units that are  
4 already going to be online and they can fast ramp and be  
5 flexible in their operation.

6           But also, how do we make the renewables in a  
7 way, because the technology exists to actually help  
8 shave the peak, or to extend those declines so that you  
9 can actually work that in a way that balances better  
10 together.

11           MS. ELDER: To tag onto that, Gwen mentioned  
12 earlier storage, energy storage. And we're also talking  
13 in other forums about distributed renewables, about  
14 storage associated with those, but also time-of-use  
15 rates.

16           And so I think ultimately, not maybe in the next  
17 two years or three years but, ultimately, there will be  
18 a variety of tools to address these things. It won't  
19 just be reliance on gas to go up and down on the system.

20           MR. GRAHAM: You mentioned something there.  
21 PG&E's been looking at this issue about forecast error.  
22 It's very intriguing because we've seen across the  
23 different technologies, and across the different players  
24 even within the same technology having very different  
25 abilities to forecast. You know, whether there's wind

1 generation that's going to happen, whether there's  
2 solar's going to happen.

3           And this is a big deal. As I mentioned, one of  
4 our flexibilities in our system is our system inventory,  
5 but it's a one-shot thing. And if it doesn't get  
6 replenished in a timely fashion, you know, you have to  
7 really start bringing on other resources, like gas  
8 storage and things like that.

9           So, it's important that people do forecast well.  
10 And as you get more options, that's nice, but you have  
11 to be able to forecast whether those things are going to  
12 happen. And it's because gas-fired, at least in the  
13 near term, is always going to be sort of the residual  
14 resource.

15           And if the forecast isn't right and you have to  
16 carry these imbalances from day one to day two, to day  
17 three, then the gas systems can really get in trouble.  
18 You know, that's when you really have to start really  
19 closing down on your operational flow orders, or various  
20 other things to get the system back into shape.

21           You know, I guess our systems are pretty  
22 flexible, but not infinitely flexible. And if you start  
23 carrying imbalances, you know, day after day, then the  
24 gas system will definitely be in trouble.

25           I think all the studies we did, with Nick and

1 others, you know, assumes that as these ramps occur that  
2 there was gas coming in to ultimately repack the system.

3 But if that didn't occur then, you know,  
4 literally within a day or two you would be in trouble.

5 MR. SCHLAG: And I'll just add a few comments.  
6 This is Nick at E3. I know that the Cal ISO has made  
7 big strides in recent years, in renewable forecasting,  
8 and that's something that continues to improve.

9 And we have to remember here, as we continue to  
10 build more and more renewables, we get more and more  
11 geographic diversity. The more solar that we put in  
12 different parts of the State, the smoother that curve  
13 becomes on sort of a day-to-day basis, and the more  
14 easily it can be sort of predicted and forecast. That's  
15 an important thing to remember.

16 All of this, you know, there's a lot about the  
17 ramps that you see from these quick-start gas  
18 generators, but I think it's also important to highlight  
19 that there's a reason to ask those generators to ramp up  
20 quickly and that's because there are going to be large  
21 periods in the future where we're not calling on gas  
22 generation to produce much output at all.

23 So, while you have this increase in variability  
24 in the power sector, you're also going to have this  
25 overall decline in throughput in the gas system. The

1 more renewables we have, the less annual energy we're  
2 going to get from our gas-fired resources. So, it's  
3 important to keep both of those things in mind.

4 And certainly, in this SoCal system, you know,  
5 there are places where quick-start units, specifically,  
6 when they come on the system will cause these large  
7 pressure drops. And it will be learning by doing to  
8 kind of get used to that.

9 But on a lot of other parts of other systems,  
10 both in California and throughout the country, as we see  
11 more and more renewables, it's going to cause decreases  
12 in throughput and it's going to create opportunities to  
13 move line pack around to provide flexibility.

14 MR. KENNEDY: In the past, pipelines are built  
15 to respond to increasing demand. Looking forward,  
16 there's a possibility that pipelines will need to be  
17 built to respond to increase supply reliability.

18 Can anyone on the panel speak to, basically,  
19 it's putting a value on reliability for supply. So, for  
20 example, I know there's increased demand of natural gas  
21 going to Mexico, and if there's more of a firm contract  
22 to send natural gas there that could impact supply to  
23 Southern California.

24 For reliability purposes, can you see possible  
25 changes and curtailments of practices, generators



1 supplying to more firm supply of natural gas?

2 MS. MARELLI: Sure. It's Gwen Marelli from  
3 SoCalGas.

4 The idea of electric generation priority  
5 factored into curtailments is an intriguing idea for us.  
6 And, you know, our intent, when we're curtailing our gas  
7 system is not to affect electric reliability. So, we  
8 see that this could be a provocative idea to pursue.

9 MR. GRAHAM: PG&E, internally, has taken a look  
10 at this issue around curtailment priorities. And the  
11 problem that we ran into is that there are no other  
12 large loads out there, unless you're ready to disrupt  
13 the fuel market, the automobile fuel market. You know,  
14 are you willing to curtail oil refineries.

15 On our system, that's the next largest load and  
16 it represents, you know, something like over half the  
17 industrial demand on our system. You know, the rest of  
18 it's very diffuse and even that has, you know,  
19 implications. Large hospitals or noncore customers,  
20 there's lots.

21 You know, you look around and you say, yeah,  
22 we'd like to keep the electric system going. I'm sure  
23 we all like to have our lights on. But there just  
24 doesn't seem to be enough load in other market segments  
25 that don't have their own reliability issues for

1 society, where you can go to, to curtail.

2           And as we've worked with Brad, I think you find  
3 that if the two systems can work together, which we have  
4 now have the tools to be able to communicate on a real-  
5 time basis, that at least so far there's always been  
6 enough gas. Sometimes not in the right place.

7           But the electric system also has some fair  
8 amount of flexibility in where they site their  
9 generation. And being able to coordinate those things  
10 on a real-time basis actually, you know, saves the State  
11 at numerous times, I think already, where you can say,  
12 yeah, maybe that generation shouldn't run. But you  
13 know, these ones over here, there's plenty of gas in  
14 that area of the system, so turn those on and shut that  
15 one down.

16           And, you know, Brad can do that across the  
17 entire State.

18           MR. KENNEDY: So, in effect it may be more  
19 costly to adjust curtailment rules as it is now? I  
20 mean, talking about some of the other sectors,  
21 commercial, residential, there's impacts there as well.

22           And Brad, as you mentioned, these curtailments  
23 are communicated with Cal ISO and exceptional dispatches  
24 are automatically done in those cases, correct?

25           MR. BOUILLON: Okay, I'm trying to figure out

1 the question to me.

2 MR. KENNEDY: Well, I guess the first part of  
3 the question was directed at PG&E and SoCalGas.

4 MR. BOUILLON: Right.

5 MR. KENNEDY: And I think you already addressed  
6 the second part, as when these curtailments occur that's  
7 automatic, that's communicated with Cal ISO to do your  
8 exceptional dispatches.

9 MR. BOUILLON: Oh, okay. Okay, so let me start  
10 back a little bit. First off, we operate a market, so  
11 you have a merit dispatch order, you have bids in a  
12 stack. It's dispatched based on hierarchy of the bids.  
13 That's the way the markets work.

14 Now, under exceptional conditions, I think that  
15 may be where your question is headed, which is you're in  
16 a reliability condition, you have your markets running,  
17 but you have to augment that with exceptional  
18 dispatches, individual instructions to individual units  
19 to either balance reliability, for example, as opposed  
20 to running the market.

21 I want to set those two aside, okay, because we  
22 run a market, that's our operation.

23 And in a reliability situation to keep the  
24 lights on, you may do extraordinary items on an  
25 individual basis. I think that's your question, right,

1 which is if you had that.

2           From our perspective, you know, we want to run  
3 everything through the market to the greatest extent  
4 possible. And so, when you look at opportunities and  
5 how to design it, we are working on tools to make it  
6 better. Actually, we are working on a couple of tools  
7 to make it better, where we can work on market solutions  
8 getting into some of these difficult conditions, where  
9 we actually are working better with the gas companies,  
10 and using market solutions.

11           So, we're actually adapting to these changes in  
12 the market and how it's worked. Whereas today, or last  
13 year, we used exceptional dispatches. And we've used  
14 them for years, that's not a new term. But we try to  
15 minimize the number of exceptional dispatches,  
16 obviously.

17           But what we're doing is actually trying to  
18 figure out why we're exceptionally dispatching,  
19 especially under reliability conditions, just seeing if  
20 there's market tools we can build to actually enhance  
21 our market to represent those conditions, and solve it  
22 using a market.

23           And that is something that we're actually trying  
24 to work on. It may not make this winter, but we're  
25 trying to get one in, in the next year.

1           MR. KENNEDY: Okay, at this time we're running  
2 towards the end of our panel discussion. I would like  
3 to open it up to any questions that we may have in-house  
4 here. Feel free to step up and ask the panel or --  
5 yeah?

6           MR. PEDERSEN: Norman Pedersen, SDGC. Brad,  
7 about, I don't know, 45 minutes or an hour ago, when  
8 this panel was starting, you were talking about how, on  
9 February 6th, you were talking to SoCalGas within six or  
10 eight minutes.

11           And I kind of lost what you were talking -- what  
12 was the event within six or eight minutes you were  
13 talking to SoCalGas?

14           MR. BOUILLON: That was the very early condition  
15 where one of the gas-fired generation units was shut  
16 off. And so, we had re-dispatched around those lost  
17 megawatts. About 600 megawatts, I think, just as a ball  
18 park figure.

19           MR. PEDERSEN: Oh, so in other words, what  
20 you're saying is they declared -- I think on February  
21 6th, and Beth, correct me if I'm wrong, it was about a  
22 300 NMCF curtailment, right?

23           MS. MUSICH: Well, we had the Southern and then  
24 we had the rest of the system, so I'd have to add it up.

25           MR. PEDERSEN: The February 6th, we're talking

1 about February -- we're talking about February 6th,  
2 2013, right? Not the February 2011 event, we're talking  
3 about February 6th, 2013 --

4 MS. MUSICH: 2014.

5 MR. PEDERSEN: 2014, rather. February 6th,  
6 2014, sorry. We had December 2013 and then we had the  
7 February 6th or 10th, 2014 event. And SoCalGas declared  
8 a curtailment of standby procurement service, which  
9 basically means that the customers have to get their  
10 burn to -- or get their deliveries into the system  
11 within 90 percent or more of their burn. That's  
12 basically what standby curtailment is.

13 And then they also had a curtailment of some  
14 individual electric generators.

15 Now, when you contacted them, it was within six  
16 or eight minutes of the curtailment of standby  
17 procurement service?

18 MS. MUSICH: No, the emergency curtailment of  
19 the Southern System generators.

20 MR. PEDERSEN: Okay. Well, it wasn't just  
21 Southern System generators, no, it was system  
22 generators. That was --

23 MS. MUSICH: No, the Southern System generators  
24 were in the morning and then it was the afternoon when  
25 the rest of the system generators were curtailed.

1           MR. BOUILLON: Right, my comment was we talked  
2 very quickly right after that first one, but we were  
3 proactive the rest of the day --

4           MS. MUSICH: Yes.

5           MR. BOUILLON: -- working together to make sure  
6 we balanced everything.

7           MR. PEDERSEN: Okay, so there was a curtailment,  
8 so you were talking to them within --

9           MR. BOUILLON: Oh, they called us, it was  
10 very --

11          MR. PEDERSEN: Okay, okay. And I'm trying to  
12 understand, so SoCalGas was determining which electric  
13 generators to curtail on the basis of the communications  
14 with the ISO?

15          MS. MUSICH: So, in the Southern System we did  
16 not -- we were unable to serve the needs of the electric  
17 generators, and so we had to go to an emergency  
18 curtailment that morning. And so what we did was one  
19 generator was pulled completely off the system and all  
20 of the other generators were asked to hold at wherever  
21 they were at the time that we called them.

22          MR. PEDERSEN: And that was declared under the  
23 standby curtailment rule or under rule 23?

24          MS. MUSICH: The emergency curtailment, yes,  
25 that --

1 MR. PEDERSEN: Rule 23?

2 MS. MUSICH: Yes.

3 MR. PEDERSEN: Okay, and so after that you  
4 coordinated with the ISO on the curtailment of electric  
5 generators?

6 MS. MUSICH: So, then that's when the electric  
7 generation moved to the northern part of our system.  
8 And as I remember, I think Diablo Canyon was down at  
9 that time, as well.

10 MR. BOUILLON: Yeah, there was a bunch of  
11 contributing factors to February 6th. But the piece I  
12 want to talk about is when we started talking, we were  
13 looking at gas reliability so we could maintain electric  
14 reliability.

15 MS. MUSICH: Right.

16 MR. BOUILLON: So, we were working together on  
17 that. And that's what happened starting from that  
18 initial communication, right after that specific unit  
19 was curtailed.

20 MR. PEDERSEN: And what Rule 23 enables you to  
21 do, to curtail customers on the basis of these  
22 communications with the ISO?

23 MS. MUSICH: No, it was an imminent threat to  
24 our core customers, so we did an emergency curtailment  
25 in order to save our core customers.



1           MR. PEDERSEN: Okay. And Brad, now back to you.  
2 You were talking at the very beginning of your  
3 presentation about NDAs you have, and you talked about  
4 NDAs with pipelines, and there was a point in your slide  
5 when you talked about interstate pipelines.

6           Do you have NDAs with -- you know, you're FERC  
7 regulated. Are you NDAs with FERC regulated interstate  
8 pipelines, or were you talking about NDAs, nondisclosure  
9 agreements, with the California local distribution  
10 utilities, you know, PG&E and --

11           MR. BOUILLON: Cal ISO has NDAs with both PG&E  
12 and SoCalGas. And then we have NDA's pending with  
13 Kinder Morgan and Kern River, which are both FERC  
14 jurisdictional entities.

15           MR. PEDERSEN: Okay, great.

16           MR. BOUILLON: I think that was your question,  
17 right.

18           MR. PEDERSEN: And just one last question. At  
19 the very end, Brad, you were talking about the FERC  
20 initiative to both change the definition of the gas day  
21 and the NAESB proposal to develop a new standard which  
22 would, of course, be subject to FERC approval for the  
23 nomination cycles.

24           And you were saying, both you and Roger were  
25 commenting on how it would be very helpful to have more

1 liquid intraday markets. If we're going to go, for  
2 example to three intraday nomination cycles, as proposed  
3 by NAESB, it would be very helpful to have more  
4 liquidity in those intraday markets.

5           Wouldn't that liquidity -- I didn't quite  
6 understand you. Wouldn't that liquidity be more  
7 valuable if you had a gas day that ran to 9:00 a.m. in  
8 the morning, rather than just 4:00 a.m.

9           Because if you had a gas day running to 9:00  
10 a.m., it would give you four more hours for gas to flow  
11 under, say, an ID-2 or an ID-3 nomination to get to  
12 customers?

13           MR. KENNEDY: Let me just interrupt, just to say  
14 this will have the last question and so we'll have to  
15 move on. Thank you.

16           MR. BOUILLON: I think my belief is that if you  
17 have liquidity in those intraday cycles it makes the gas  
18 day start change less significant.

19           I think that if you have truly liquid later day  
20 cycles after the evening load pull on the electric side,  
21 in particular, it gives you a lot more flexibility for  
22 makeup gas and balancing that I think would be very  
23 valuable.

24           So, I didn't really tie the two together  
25 directly, but I think the liquidity in that late day

1 cycle gives you the ability that you've finished your  
2 evening load pull, you know your actual burns, 90  
3 percent of your gas burns and you know where you stand  
4 the rest of the day, I think you have better flexibility  
5 in helping maintain reliability of both systems.

6 MR. PEDERSEN: Thank you.

7 MS. ELDER: And the big point, or question I  
8 think, Norm, is whether we'll get that liquidity. You  
9 know, if the traders still go home, or to the golf  
10 course, it won't do us any good to have another  
11 nominating cycle.

12 MR. KENNEDY: Okay, well, I'm sorry, everyone,  
13 in the interest of time we'll have to move on, now.

14 I would like to thank all of our panelists for  
15 participating.

16 For all of those still in the house, or online,  
17 that didn't have time to ask a question, please submit  
18 your questions and comments to the information shown on  
19 the slide. Thanks, again.

20 We're going to pause, now, as we prepare for our  
21 next panel.

22 MR. BAUER: We are now going to continue on  
23 California production and supply.

24 And our first speaker is going to be Leon  
25 Brathwaite, who is from the California Energy Commission

1 and works in our Natural Gas Unit.

2 I do want to note we've had a little bit of  
3 attrition on this panel. And so, towards the end of the  
4 questions, we're probably going to open it up to the  
5 full discussion with the Natural Gas Working Group, and  
6 also to anybody in the audience who might want to take a  
7 stab at answering some of the questions that Leon's  
8 going to ask the panelists.

9 But for now, I want to introduce Leon.

10 MR. BRATHWAITE: Thank you, Silas. Good  
11 afternoon, everybody.

12 Of course, my name is Leon Brathwaite. I've  
13 been working here, at the Commission, for a very long  
14 time. Actually, when I started working here I used to  
15 have black hair. You can see that's changing now,  
16 right.

17 So, anyway, today I'm going to talk a little bit  
18 about supply and production. I want to focus a little  
19 bit on California, but I cannot do that without talking  
20 about the rest of the country, in particular the lower  
21 48.

22 During our IEPR work -- IEPR work 2013, we  
23 developed three cases, three scenarios of our natural  
24 gas supply, production, and prices in the lower 48.  
25 This was a reference case. It was a low-demand/high-

1 price case, and a high-demand/low-price case.

2           What we are trying to do is to capture the  
3 variation in supply, demand and price. Well, of course,  
4 California is linked to the rest of the country, to a  
5 very extensive pipeline network, and we produce about 10  
6 percent of our own demand. So, that means 90 percent of  
7 the gas that we consume here, in California, comes from  
8 outside the State. So, whatever happens out there, will  
9 certainly affect us here.

10           So, it's very important for us to understand how  
11 much gas is available and at what cost it is available.

12           So, if we look here, at our supply cost curve,  
13 these things actually go into the model. Now, the curve  
14 that you're looking at right now, this curve, in  
15 particular, is not in the model. This is a composite of  
16 about three or four hundred curves that are presently in  
17 the model.

18           So, what I want to show you here is during our  
19 2007 assessment, we came up with a blue curve. Then our  
20 2011 rolled around, we came up with a red curve. And  
21 then we came up, in our 2013 work, we came up with a  
22 green curve. Notice the curve is shifting to the right.  
23 Which means we're having more gas available, at lower  
24 cost.

25           Because if you look at that curve, you can see

1 at \$4.00, in 2007, you say, well, maybe about 600 TCF is  
2 available.

3 At \$4.00, in 2011, you say, well, it's running  
4 close to 800.

5 At \$4.00, in 2013, we see it's getting up around  
6 almost 1,200 TCF of gas available to us.

7 Please keep in mind that during all this time we  
8 are consuming, in the lower 48, about 20 to 23 TCF per  
9 year but, yet, the curve is shifting to the right and  
10 expanding.

11 We also looked at the reserve life index. The  
12 reserve life index is where we take all of the gas, all  
13 of the known reserves and we divide it by the current  
14 rate of consumption.

15 Now, during around 2000 it was about 54 years.  
16 About around 2008, that ran up to 87. By the time we  
17 got to 2013, we were at 112 years.

18 So, our current rate of consumption, we have  
19 over 100 years of gas available to us. A lot of gas,  
20 more than we know what to do with. So, more gas is  
21 available at lower cost.

22 The question then becomes why? Why is this  
23 happening? Well, of course, it is because of the  
24 development of the shales. Years ago we did not know  
25 how to access the shales. They were there, we knew

1 there were a lot of gas in them, but we had no idea of  
2 how to access it.

3 But in the last 15, 20 years, as a result of the  
4 some of the work by George Mitchell, from Houston,  
5 Texas, well, he was really just outside Houston, he  
6 showed us by using hydraulic fracturing and horizontal  
7 drilling we can access the shales. And now we have  
8 shales all over, maybe in 31 states in the lower 48, and  
9 there may be five provinces in Canada, and seem to be  
10 expanding every day.

11 We have the Marcellus, which is probably the  
12 largest shale in North America, up in the northeast.

13 We have the Bakken, which is probably the most  
14 prolific shale right now in the lower 48, and that's in  
15 the North Dakota area. This extends also into Canada.

16 We have the Barnett is probably the most  
17 developed. We have the Fayetteville, the Haynesville,  
18 we have the Eagle Ford down here, which also extends  
19 into Mexico. So, shale is all over.

20 But we also have shale here in California that  
21 have been identified, the Monterey in particular, but  
22 it's not yet developed.

23 This was an issue that I was hoping that our  
24 panelists will discuss at some point in time, if it is  
25 possible to develop that shale here in California. It's

1 supposed to have quite a lot of reserves in there. But  
2 it's something we'll talk about later on.

3 So, as a result of our work we did a snapshot.  
4 And this is a 2025 snapshot. Now, we can do this for  
5 any year in our whole forecast horizon. We could do it  
6 for 2015, 2010, if we wish, but we did it for 2025, just  
7 to see what it looked like out there.

8 So, here we have the lower 48 and we have two  
9 main demands. We have end-use demand and we have  
10 exports. We have end-use demand right here running  
11 about 73 Bcf per day. And we have exports, and we'll  
12 talk a little bit more about that shortly. 8.4 Bcf a  
13 day of exports, that's what we expect in 2025.

14 Now, how is all of that demand satisfied? Well,  
15 that demand is satisfied by Canadian imports, about 12.7  
16 Bcf a day, lower 48 production, 72.3 Bcf per day, and a  
17 little bit of LNG imports, about .2 Bcf a day.

18 So, this is how our supply and demand balance  
19 works in the lower 48. In a little while, I'll show you  
20 how it works for California by itself.

21 But I wanted to focus a little bit on the  
22 exports. Well, there are two kinds of exports that  
23 probably will be occurring. The first of which is  
24 pipeline exports to Mexico.

25 Right now, as we speak, there is growing demand



1 in the power generation sector in Mexico. And Mexico  
2 has a significant amount of under-developed resources.  
3 So, what is going on right now is that many pipeline  
4 companies are proposing to build pipelines that will  
5 export gas from the lower 48 to Mexico.

6 These companies include Sempra, TransWestern,  
7 Kinder Morgan, just to name a few.

8 But what we saw out of our work is that we  
9 expect exports to Mexico to increase and to reach about  
10 3.5 Bcf a day by 2025. Then we expect to see some sort  
11 of drop off somewhere around that time, maybe 2023 or  
12 so. There's like a significant reform going on in  
13 Mexico right now. We expect that to take hold and then  
14 we expect pipeline exports to drop off just a little  
15 bit. But we expect significant exports to Mexico over  
16 the next 10, 15 years.

17 The other avenue for exports, of course, is LNG  
18 exports. There are at least 14 proposals on the table  
19 right now and they are for facilities to be built in the  
20 U.S. Gulf Coast, on the East Coast, and the Pacific  
21 Northwest.

22 Four of these proposals have already received  
23 approval. WE have Sabine Pass Liquefaction. That's in  
24 Louisiana and that is currently under construction.

25 We have Cove Point LNG in Maryland. We have

1 Cameron Liquefaction in Louisiana, and we have Freeport  
2 Liquefaction in Texas.

3           So, these things are expected to be built. I  
4 don't know what's going to happen with the rest, but  
5 they may be built also. We have to wait and see what  
6 the market tells us.

7           Now, to California. This is a 2025 snapshot for  
8 California. Of course we have our demand. We have a  
9 demand of about 6.4 Bcf a day. This is in 2025, this is  
10 our snapshot.

11           Now, how is that demand going to be satisfied?  
12 Well, it will be satisfied by about 2.7 Bcf coming in  
13 from the north, at Malin. We'll have about 1.25 Bcf  
14 coming from the Rocky Mountains, and about 2.23 Bcf  
15 coming across from the southwest. And, of course, we're  
16 going to have a little bit of local production.

17           Now, the thing to notice is how small our local  
18 production is. About 10 or 15 years ago, maybe 10 years  
19 ago, I should say, we were producing about 15 percent of  
20 our demand. Today, we are producing about 10 percent.

21           We are projecting that unless something changes,  
22 unless something changes we are only going to be doing  
23 about 3 or 4 percent by 2025.

24           This is a question for the panelists, what could  
25 we do about that or should we do anything about it?

1 We'll speak over that here, in a little bit.

2           So, what's going to happen to prices. This  
3 particular graphic shows us the prices at Topock. You  
4 can see this is our high price case, that was our low  
5 price case, and this was our reference case. And you  
6 can see prices moving up, moving up until it will  
7 probably reach about a \$5.00 level, also, in 2025.

8           So, the high-price case behaves as expected, the  
9 low-price case behaves as expected. Those two lines  
10 formed a zone of uncertainty. And we expect that prices  
11 will deviate between those two as we go into the future.  
12 And this is something that we'll be looking at a little  
13 more as we go through this present cycle in terms of  
14 prices and their behavior.

15           Now, in terms of production, I put up these two  
16 schematics to show the contract. In the lower 48 we are  
17 seeing great expansion of natural gas production. Of  
18 course, you know the reason for that, shale. The  
19 development of shale have truly expanded our supply  
20 portfolio.

21           We expect, around 2025, we should be producing  
22 something like 75 Bcf per day. But if you look at  
23 what's happened in California, in all three of our cases  
24 that we did, California production is declining and  
25 declining pretty significantly.

1           Like I told you a little while ago, we expect  
2 that by 2025 California will only produce about 3 or 4  
3 percent of its demand. This is something that we would  
4 like to talk to the panelists about, what should be done  
5 about it, or if anything at all should be done?

6           That takes me to the end of my presentation.  
7 We'll now get into the panel discussion.

8           So, could I now ask our panelists, Sharim, and  
9 George Pickering, please join us. Gordon Pickering.  
10 Gordon, I just renamed you and I apologize. I hope you  
11 don't hold it against me.

12           Like I said, I used to have black hair when I  
13 started here at the Commission, and it's gray hair.

14           So, we'll now go into our panel discussion.  
15 Thank you very much for listening.

16           There we go, all right. Now, we will suppose --  
17 oh, not so loud. Okay. All right.

18           We were supposed to have four panelists today,  
19 on this panel. Unfortunately, one of our panelists is  
20 stuck in an airport someplace, and another one decided  
21 not to join us here, today.

22           But we have two distinguished gentlemen here who  
23 will help us with some of the issues that we are about  
24 to discuss.

25           So, the first of which is Sharim Chaudhury. Am

1 I pronouncing that?

2 MR. CHAUDHURY: Yes, very good, close enough.

3 MR. BRATHWAITE: Thank you. I don't want to  
4 butcher your name.

5 MR. CHAUDHURY: No, no, you did great.

6 MR. BRATHWAITE: Anyway, Sharim is the Manager  
7 of Gas Demand Forecasting and Redesign within the  
8 Regulatory Affairs Department of SoCal. His department  
9 supports the gas regulatory activities of both SoCal and  
10 SDG&E.

11 Prior to joining SoCal in April 2013, he worked  
12 at Southern California Edison for 13 years, holding  
13 several positions, from Senior Analyst, to Manager of  
14 Price Forecasting, to Manager of Long-Term Demand  
15 Forecasting.

16 Sharim holds a PhD in economics from the  
17 University of California, in San Diego.

18 Sharim, welcome.

19 MR. CHAUDHURY: Thank you.

20 MR. BRATHWAITE: Our other panelist is Gordon  
21 Pickering, who I renamed George a little while ago.

22 (Laughter)

23 MR. BRATHWAITE: Gordon is the Director of the  
24 Energy Practice at Navigant Consulting. Over the last  
25 30 years plus, Gordon has acquired vast experience in

1 North American energy consulting, in oil and gas  
2 exploration and production, in power industry in both  
3 the United States and Canada.

4 He currently leads Navigant's North American  
5 Natural Gas and Energy Practice. That practice has been  
6 a market leader in identifying gas shale development  
7 through the technology breakthroughs that we are now  
8 witnessing in the oil and gas industry.

9 Gordon has a strong background in energy  
10 pricing, particularly in natural gas and LNG, and in the  
11 area of price forecasting and risk management.

12 He's a sought after speaker, having spoken  
13 widely at industry conferences and other events across  
14 the United States, Canada and Europe.

15 Welcome, Gordon.

16 So, what are we going to be doing here? We'll  
17 be talking a little bit about production, supply, and  
18 demand to some extent, and any associated issues.

19 These gentlemen here are industry experts and  
20 we'll be -- hopefully, they'll be able to help us to  
21 decipher some of these issues.

22 As I go through these questions, I invite  
23 anybody, whether in the audience or on the WebEx, to  
24 please chime in with questions, or comments, or any  
25 opinions that you would like to offer as we go through

1 the questions.

2           If you decide to speak, though, please identify  
3 your name and your affiliation, so that everyone can  
4 know where -- who you are and where you are coming from.

5           So, having said that, why don't we just get into  
6 the questions.

7           So, the first question that we have on the table  
8 is what technological advances have there been in  
9 conventional natural gas production that could benefit  
10 California's natural gas production?

11           As you saw from my presentation, California  
12 production is declining and declining pretty  
13 significantly. And is there something we can do to  
14 arrest that or is there anything that we should do to  
15 arrest that decline?

16           So, Gordon, why don't I open it up to you and  
17 could you maybe give us some perspective on that  
18 particular issue?

19           MR. PICKERING: Thank you, Leon. Thank you very  
20 much. I think it's been four years since I was here  
21 last. Here we go. I think it was four years since I  
22 was here last and we were talking at that time, and I  
23 believe, if I'm not mistaken, that Terry Engelder from  
24 Penn State University, also joined us on the phone.

25           MR. BRATHWAITE: Yes.

1           MR. PICKERING: And there were others that  
2 participated. And what the topic was, was somewhat  
3 similar. It was about production and supply in the  
4 country at that time. And the day was rather different  
5 than what it is today. I appreciated your comments  
6 here, Leon, and I think they're very astute in terms of  
7 the market that we have today.

8           And I think what we need, to first of all frame  
9 this discussion, is how far we've come in a very short  
10 time. So, what you've outlined here and if we were to  
11 look back at the notes from four or five years ago, or  
12 however long that was, not very long ago, I think we  
13 were talking about, but we were also realizing that we  
14 had a very different market.

15           If we go back to 2008, as a matter of fact in  
16 this country the situation was that we were in a supply  
17 deficit and we were running out of gas supply. The  
18 country was reliant upon LNG import facilities to make  
19 sure there was enough supply to service the needs of the  
20 industry going forward.

21           As Leon and most people now recognize, this  
22 situation is quite different, now. And also, which Leon  
23 mentioned, that you might have caught, is that we are in  
24 a situation, now, of abundance, and as a matter of fact  
25 in a surplus situation. An imbalance market



1 characterized by surplus supply and not necessarily the  
2 healthiest market that you want, either.

3           So, we have two ends of the spectrum here. A  
4 situation that was at least of perceived shortage a few  
5 years ago, challenges for supply/demand balance, which  
6 most economists will tell you is the ideal, to a  
7 situation today where we have surplus of supply, and a  
8 situation where we're trying to manage that imbalance  
9 again, yet in the other way.

10           In terms of the particular question here, what  
11 we are -- what Leon is focused on, I think is  
12 conventional, and conventional natural gas production  
13 and the techniques.

14           I think that what -- where we first have to  
15 appreciate that conventional gas production, there still  
16 is an awful lot of conventional gas production in the  
17 country.

18           All of the press and all of the pizzazz in the  
19 industry, if you like, is around gas shale for good  
20 reason. But there is still a substantial amount of gas  
21 supply that is produced in the conventional area. And  
22 this is really where I think maybe the question has been  
23 addressed.

24           And in the conventional, like in the  
25 unconventional gas shale, or tight gas, or coal bed

1 methane areas, the industry will tell you, the producing  
2 industry will tell you that they learn most by actually  
3 working, by actually doing things, by actually drilling.

4           And through the short period of time here, in  
5 the evolution of the gas shale development, I think what  
6 you've seen is a remarkable set of circumstances that  
7 when the industry get busy they learn a lot. They learn  
8 different techniques. Efficiencies are developed.  
9 Technology increases. And, as a result, costs go down.

10           And the same kind of thing likely is occurring,  
11 I submit, in the conventional gas area. Out of  
12 necessity, to some degree, that the conventional gas  
13 industry, like the unconventional gas industry, which is  
14 setting the trend these days, is needing to be  
15 competitive, one with the other.

16           So, if you're a conventional gas producer, you  
17 need to be able to look at the economics of the  
18 unconventional gas folks and what they are doing to  
19 produce gas to be able to meet the market.

20           So, that situation applies in California here,  
21 but also I think we'll talk a little bit later about  
22 unconventional opportunities here in California that are  
23 certainly there in terms of the resource.

24           MR. BRATHWAITE: Oh, absolutely.

25           Sharim, could you -- do you want to add

1 something on that?

2 MR. CHAUDHURY: Yes. I think, you know, some of  
3 the advances, you know, like the technological advances  
4 is seismic surveys and the horizontal drilling really  
5 also helped in conventional gas production in  
6 California, in the sense that, Leon, you showed your  
7 chart that the California production is going down.

8 So, all this enhancement, if anything, it helped  
9 to slow down the decline. Okay, so that's all I would  
10 like to add.

11 MR. BRATHWAITE: Sure, okay. Does anybody in  
12 the audience have a question or have a comment on this?

13 Okay, anybody online?

14 Okay, hearing none --

15 MR. CHAUDHURY: Yeah, we are kind of lonely up  
16 here, we'd like to have more people here.

17 MR. BRATHWAITE: Really, absolutely, you know.  
18 People just walked away from us.

19 Okay, so let's move on, then, to question number  
20 two. From your perspective, what will be or what do you  
21 think will be the future of natural gas production here  
22 in California, given some of the constraints we have  
23 here on production. In particular, I would probably  
24 have to mention, maybe, some of our environmental  
25 constraints.

1           Now, today we are not talking anything about  
2 emissions or anything like that. That will be in a  
3 future workshop. Right, Silas?

4           But the other environmental constraints, what do  
5 you think the future is going to look like?

6           Sharim, why don't you lead us off in that  
7 regard?

8           MR. CHAUDHURY: Yeah, you know, if you look at  
9 the 2014 California Gas Report, where we basically, like  
10 you, look at the gas supply meeting California gas  
11 demand, what proportion is coming from California  
12 production versus out-of-state.

13           And in this report, both for PG&E and us, we are  
14 really seeing virtually flat. We were showing some  
15 decline, but we are showing virtually flat, you know,  
16 production. So, we really don't see production  
17 increasing. If anything, it probably will go down for  
18 the reason that you mentioned earlier in your  
19 presentation.

20           MR. BRATHWAITE: Sure, okay.

21           MR. CHAUDHURY: So, we really don't see any  
22 change. It will be pretty insignificant. But given  
23 that the demand is totally going down in California, so  
24 that if you look at it proportionately, maybe the  
25 California production will be slightly higher by 2020 to

1 2035, compared to now.

2 MR. BRATHWAITE: Uh-huh.

3 MR. CHAUDHURY: But in terms of absolutely level  
4 of production, it's going to be virtually flat or  
5 slightly declining.

6 MR. BRATHWAITE: I see. I see. Gordon, what do  
7 you want to add to that?

8 MR. PICKERING: Yeah, I mean, I wouldn't  
9 necessarily disagree with a flat to slightly decreasing  
10 production profile here from California.

11 But a couple of things. I would not suggest  
12 it's necessarily a result of demand. I think it's apt  
13 to be more supply driven. There's a lot of competitive  
14 gas supply in adjoining states and adjoining built-in  
15 pathways behind existing transportation corridors. A  
16 lot of work that is going on in areas, including British  
17 Columbia I will add, to the north, that seems to be  
18 under-represented here so far in the some of the  
19 dialogue that we hear across the United States.

20 But that, certainly, there are a lot of things  
21 that are developing there.

22 And in terms of the supply and what is apt to  
23 happen, I would like to be clear that the answer to this  
24 is not probably resource-driven, either.

25 So, the reason why maybe a flat profile is apt

1 to be in existence in the future is not because of the  
2 resources in here. We do know, for sure, at least  
3 there's a good likelihood that this State, and we  
4 haven't talked about this, but holds, perhaps, the  
5 largest oil shale resource maybe known in the world  
6 today.

7           With that oil shale, and recognize that some of  
8 the numbers in terms of the resource base have been  
9 adjusted by the Federal Government here, over the last  
10 year or so, nevertheless, I don't think that the Federal  
11 Government has indicated that they are confident enough  
12 to say that this is -- means that the resource has  
13 disappeared all of the sudden.

14           It's mainly because there hasn't been enough  
15 work done to be able to substantiate or really prove up  
16 the oil shale.

17           And with that oil shale development, the reason  
18 why I mention that, is that there's apt to be associated  
19 gas.

20           MR. BRATHWAITE: Oh, yes.

21           MR. PICKERING: So, gas that is produced. So,  
22 if the very valuable, and even under an environment of  
23 decreasing oil prices currently, these have gone down  
24 pretty quickly, but they can also go up, so we need to  
25 remember that. In this environment there is an

1 opportunity for substantial gas to be produced, yet, in  
2 California.

3           But in my own view, it's that it is more a  
4 matter of what does California want to do? I will say  
5 that my feeling, and what I see around the country in  
6 terms of the industry, the industry is flat out -- the  
7 industry has a lot of opportunities these days in terms  
8 of developing other areas.

9           The Permian Basin, we haven't really talked  
10 about, yet, is just going flat out. Eagle Ford, of  
11 course the Bakken, and then the big shale plays, in  
12 particular the Marcellus and the Utica, demanding a lot  
13 of the efforts of the industry.

14           And so, California becomes a bit of an  
15 afterthought. And the history of California is at least  
16 unclear in terms of the signals sometimes that it gives  
17 the producing industry. And to the extent that  
18 California would, I believe, clearly indicate a path  
19 forward, and the State must also congratulate itself in  
20 some ways in making great strides, in a short period of  
21 time, forward in terms of its regulatory structure for  
22 the development of shale gas and other forms of gas in  
23 the State.

24           So, there's still things that have been done,  
25 but things to do. That will, you know, indicate maybe

1 how much production potential is still left.

2 If things shape out, if the people of California  
3 decide that this is something that they would like to  
4 pursue, I think the resource is there.

5 If not, there's still enough gas from other  
6 places in the country to meet the needs of California  
7 going forward.

8 MR. BRATHWAITE: So, Gordon, are you -- if I'm  
9 hearing you correctly, are you saying there's -- that  
10 the issue will play out depending on the economics of  
11 pipeline gas, gas being piped into California versus gas  
12 being developed locally here, within the State? Am I  
13 hearing that out of your assessment?

14 MR. PICKERING: Yeah, everything is going to be,  
15 I think, competitive is what I'm saying. So, anything  
16 that's developed here will need to be competitive with  
17 gas produced from other places and transported into the  
18 marketplace. That's just the way it works.

19 And I think you've seen some examples, recently,  
20 with the Western Canada resource, the Western Canadian  
21 Sedimentary Basin running into competitive issues in  
22 delivering gas into the U.S. northeast markets because  
23 of the transportation cost versus, now, a new  
24 alternative that markets have in the U.S. Northeast with  
25 the Marcellus and the Utica.



1 MR. BRATHWAITE: Yeah.

2 MR. PICKERING: So, California would be no  
3 different in that indigenous supply which, if it's  
4 closer to market perhaps has a transportation advantage  
5 versus other gas coming from other places, like the  
6 Rockies or from Western Canada. So, everything being  
7 equal, which they never are, but getting through some  
8 technical, technological advancements and such has an  
9 opportunity to be competitive and maybe more so.

10 MR. BRATHWAITE: There you go.

11 Sharim, anything else you want to add on this?

12 MR. CHAUDHURY: No. I think, you know, given  
13 the current prices and we're not even, now, going to the  
14 regulatory environment, you mention it will be another  
15 area, you know, environmental issues. I don't foresee,  
16 you know, the Monterey shale being developed, you know,  
17 in the next 15, 20 years. And that's why we are  
18 basically sticking with the CGR forecast of really  
19 conventional gas, at most at current level.

20 MR. BRATHWAITE: So, are you saying that you  
21 think the regulatory environment or the environmental  
22 constraints will probably prohibit the development?

23 MR. CHAUDHURY: You know, it will be one factor,  
24 along with the abundance of gas, you know, in the rest  
25 of the United States, along with the price of gas --

1 MR. BRATHWAITE: Right.

2 MR. CHAUDHURY: -- these all will play a role in  
3 sort of having, you know, Monterey shale to be  
4 developed.

5 MR. BRATHWAITE: I see, okay.

6 MR. PICKERING: I just would add here just a  
7 thing, and I don't know where things, frankly, will end  
8 up with the Monterey. But I would just suggest that we  
9 don't, certainly, write this off, and recognize how fast  
10 things can turn in a very short period of time.

11 We are also talking about oil and with its value  
12 and its import. So, in this country it has a different  
13 connotation, different value system, apparently, to  
14 natural gas.

15 And should the forces that be, the public in  
16 California certainly, perhaps broader than that, decide  
17 there is some economic reason to develop the Monterey  
18 shale, oil shale, but with it considerable gas  
19 production, then we could have a quick reversal of  
20 fortune that just will cast, you know, one's view back  
21 to 2008.

22 Not very long ago, six years ago, when people  
23 and there were many, most of the industry was saying  
24 this is not possible. Navigant, you've got things  
25 wrong. You're on the good stuff, you know.

1           So, I just, you know, don't know what's going to  
2 happen. Partly, and I think to some degree, it's  
3 largely a policy decision and, secondarily, it's a  
4 technological decision.

5           MR. BRATHWAITE: Okay.

6           MR. CHAUDHURY: I'd like to add that I agree  
7 that there's a tremendous amount of uncertainty out  
8 there, so I'm not saying that it's not going to be  
9 developed, period.

10          MR. BRATHWAITE: Right.

11          MR. CHAUDHURY: But, you know, given the  
12 situation now, the information I have, you know, it  
13 seems like compared to, Leon, your reference case, that  
14 if I'm to give a point estimate forecast, I would say it  
15 won't be there.

16          MR. BRATHWAITE: Okay. But I was just wondering  
17 something, though. We were talking about the possible  
18 development of the Monterey shale. And we know that in  
19 other parts of the country the hydraulic fracturing and  
20 horizontal drilling have been used quite effectively to  
21 develop natural gas resources.

22           Do you think those techniques can be combined  
23 and used here in California, given the geology within  
24 the State of California?

25          MR. PICKERING: I, myself, am a tremendous

1 believer in technology. And that recognizes that there  
2 is a different geology here in California, apparently  
3 with the Monterey shale. But I'm not persuaded by that,  
4 that will be the determining factor as to whether the  
5 Monterey shale is developed at all. I think far from  
6 it.

7 I think the industry, at the appropriate time,  
8 and also layering in economic production, given what we  
9 are talking about is oil. And oil, the way its value,  
10 most of us know, is 45 times more valuable in some  
11 sense, or more costly in others compared to natural gas  
12 on an MMBTU basis.

13 So, the oil, I would say, and the public  
14 dialogue around the Monterey shale, because of what it  
15 is, deserves some different considerations, and  
16 different policy considerations than natural gas.

17 MR. BRATHWAITE: Okay.

18 MR. CHAUDHURY: As you know, Leon, that the  
19 currently brand crude is trading at around \$77, \$76,  
20 \$78. So, there's some questions about, at that level of  
21 oil price and it's expected to may even go down for the  
22 rest of the year and next year. And given that, there's  
23 some questions about all this shale play. You know,  
24 what shale plays, where, you know, gas is the associate  
25 production, along with the oil, which really brings the

1 bucks home.

2           The question is, is that how -- whether will it  
3 go down where there's some of these production from the  
4 Monterey shale will be affected. So, there's a  
5 tremendous uncertainty out there, as you know.

6           MR. BRATHWAITE: Yes, indeed. Indeed.

7           Anybody from the audience want to chime in, at  
8 all?

9           How about anybody online? Could you read the  
10 comment?

11           (Comment from WebEx): "I agree with Gordon when  
12 it comes to the Monterey, it's about oil. And the gas,  
13 just as it is in the Bakken, is a foster child,  
14 according to major input holders. And in the Monterey,  
15 the economics are not yet ripe for development."

16           MR. BRATHWAITE: Yes, please come to the mic,  
17 your name and your affiliation, please.

18           MR. RUBEN: My name is Greg Ruben, with Kinder  
19 Morgan. A quick question for you guys, when we look at  
20 that relationship, the crude oil prices dropping to the  
21 \$70 range, and I've seen some of the studies and reports  
22 that are suggesting that some of the producers would  
23 still be looking at substantial returns if they kept  
24 their rig count up.

25           So, you know, even at \$70, they're projecting,

1 some of these major producers, large independents are  
2 still looking at 20 plus returns on their drilling  
3 activity.

4           So, do you still feel comfortable that we'd see  
5 a decrease in the rig count because of that temporary, I  
6 guess, or even if it is long-term drop in the crude  
7 prices, or would you consider that those producers would  
8 continue to drill at the reasonable levels that they're  
9 drilling at today?

10           MR. CHAUDHURY: You know, producers first pick  
11 up the low-hanging fruit. So, current one, they're  
12 using, probably a lot of them are still profitable at  
13 \$70, you know, oil price.

14           But I'm also thinking that if they're going to  
15 more and more expensive shale plays, whether it will be  
16 economic to do that.

17           MR. PICKERING: You see how quick, we're talking  
18 about gas, we're now talking about oil, and we're also  
19 talking about the world market. So, we have  
20 everything -- in a year or so that will be globalized in  
21 this energy discussion, with gas connected from North  
22 America, for the first time, with the rest of the world  
23 as the oil market has been forever.

24           So, this begs for more and more interesting  
25 discussions all the time. The price of oil and the

1 price of oil in North America, I think is the question  
2 here, and the economics at \$30 - - \$70 a barrel, is that  
3 economic? I think it has every reason to be economic  
4 for a lot of producers. I think there are certain oil  
5 production sources, some of them very large, like the  
6 Albert Oil Sands, that may have some different economics  
7 in their makeup, and because of the size of the  
8 resource. They're perhaps the fourth largest deposit of  
9 oil in the world. May have some different and this  
10 question becomes more -- I think at \$70, they're still  
11 fine. But at some point, before the rest of the  
12 industry, perhaps in North America, becomes constrained  
13 by economics, the Oil Sands may be the first.

14           The economics of developing the Monterey oil  
15 shale, in California, no one knows what exactly it will  
16 take because there hasn't been enough work done, as far  
17 as I can tell.

18           But one thing I will say, I'll relay a little  
19 story and sort of an anecdote from what I'm hearing out  
20 of foreign markets, and which apparently is coming from  
21 the Middle East, and an arrangement that came up a week  
22 or two ago in terms of the OPEC reducing the oil price,  
23 or reducing production to maintain the -- retain prices  
24 the way they were.

25           They decided, OPEC decided not to curtail

1 production and let things go. They are looking, no  
2 doubt, at the U.S. oil market and increased production  
3 from North America, and felt like there is more downside  
4 and more economics in the North America oil production.  
5 So that if they decreased production, all that would  
6 happen would be that the U.S. producers may up their  
7 production levels to take advantage of the supply  
8 declines.

9           How this tracks into the gas world, too, is very  
10 interesting in that there's been some press here,  
11 recently, that as a result of declining oil prices and,  
12 therefore, possible production declines, which I don't  
13 agree with, Navigant doesn't agree with, on the oil  
14 space that lesser amounts of gas will be produced in the  
15 country and gas prices will go up, as well.

16           This argument, as we can appreciate, centers  
17 around the associated gas or liquids production that  
18 is -- and gas being produced in association with wet  
19 gas, especially in the Eagle Ford and in the Bakken  
20 areas. And if oil prices go down, will gas production  
21 go down and prices, as a result, go up.

22           I would only offer this, that there's only, and  
23 according to our estimates, only about 14 percent of the  
24 market in the United States that have produced through  
25 associated gas.



1           So, my view would be that if there was a decline  
2 in oil production and, therefore, tracking through on  
3 the associated gas part of the oil metric, that it would  
4 have a very small part on the market. And those places,  
5 such as in the Monterey, that are behind pipe, gas has  
6 already been drilled that is waiting to be tied in other  
7 places, as well, would apt to jump right in to be able  
8 to maintain gas production.

9           A long, convoluted story about talking about the  
10 interrelationship between oil and gas, and what would  
11 happen with gas as a result of oil price decreasing.

12           MR. BRATHWAITE: Oh. Anybody else?

13           Okay, so let's move on to question number three.  
14 I'm going to switch gears just a little bit, but it's  
15 still related to our discussion here.

16           So, over the past several years the U.S. have  
17 undergone a well-publicized shale gas boom that has been  
18 facilitated by technological advances in seismic  
19 surveys, combined with hydraulic drilling and -- the  
20 horizontal drilling and hydraulic fracturing.

21           The resulting flood of new supplies on the  
22 United States natural gas market has caused a number of  
23 companies to file for permits to build LNG export,  
24 underline export, terminals with the intention of  
25 exporting gas to foreign countries.

1           This was something that was in my slide a little  
2 while ago.

3           Taking into account the economic and permitting  
4 hurdles related to building LNG export terminals, what  
5 is a realistic outlook for the impact of LNG exports on  
6 the U.S. natural gas market?

7           Under what circumstances would the U.S. LNG  
8 export market result in U.S. supply shortages or price  
9 increases?

10          What is the jurisdictional issues that arise in  
11 permitting LNG export terminals?

12          I mean, I would also like this to be in context  
13 with the fact that just a few years ago we were talking  
14 about LNG regasifications. We had a bunch of, I think  
15 there were 12 proposals to build facilities here, in  
16 California.

17          So, given that history, I would like you guys to  
18 speak to this issue as best you can. So, let me start  
19 with Sharim, and Gordon, I'll come to you next.

20          MR. PICKERING: Yeah.

21          MR. CHAUDHURY: Okay. I was looking at the  
22 Energy Information Administration, the EIA 2014, you  
23 know, annual energy outlook. And they look at multiple  
24 scenarios. Okay, they have a reference case. They have  
25 a very optimistic oil and gas recovery scenario. They

1 have a pessimistic scenario. And they look at also high  
2 economic growth. And they look at also like accelerated  
3 coal and nuclear replacement with gas-fired generation.

4 And after they did that study, and just to give  
5 you an example that under this study, in the reference  
6 case, you know, EIA said in 2015 there would be a 0.3  
7 Bcf LNG export. Okay.

8 Now, after they did this study, apparently  
9 Department of Energy went back to them, and as they were  
10 coming out with the report for prospective, you know,  
11 LNG exporters that whether export would be beneficial in  
12 the public interest, DOE asked them to basically say  
13 what are the price impacts, for example, of several  
14 scenarios.

15 One is export of 12 Bcf LNG export starting in  
16 2015, with incremental of 2 Bcf every year. That's one  
17 scenario.

18 The second scenario was 16 Bcf export, total  
19 again with a 2 Bcf incremental every year.

20 And the third one was 20 Bcf, okay.

21 And just to give you that -- just to let you  
22 know that EIA had thought some of the expansion in the  
23 early years that DOU was looking for, it was very, very  
24 optimistic, okay. In fact, in some cases it's been  
25 unrealistic because it cannot ramp up, you know, the

1 export so rapidly given we don't have the infrastructure  
2 here, yet.

3           Given that they recognized that the DOE request  
4 was sort of the outer limits, okay, that even though  
5 it's not going to be that much, say what is the sort of  
6 extreme price impact, okay, capturing that.

7           So, in that scenario, what EIA did is they  
8 looked at the initial, say for example, reference case,  
9 and they superimposed the additional LNG export to get  
10 to the -- for example, one case is 12 Bcf by 2020,  
11 starting in 2015, incremental of 2 Bcf.

12           Then another scenario is, you know, 16 Bcf,  
13 another is 20 Bcf.

14           And what they found is that if they took the  
15 reference case, then the price increase would be like  
16 four percent, okay. If it was 12 Bcf export, LNG  
17 export, versus 11 percent price increase if it was 20  
18 Bcf export.

19           MR. BRATHWAITE: Oh, okay.

20           MR. CHAUDHURY: So, their conclusion was that  
21 the increasing supply can be met, and the export,  
22 together with domestic increase in industrial demand,  
23 and also for the EG growth, okay, the gas for EG demand  
24 growth can be generally met with the increasing in the  
25 supply of natural gas from -- primarily from the shale

1 plays.

2           So, they were basically saying that, you know,  
3 there will be some price increase but counter, you know,  
4 on the opposite side the economy is going to improve  
5 from that. You know, GDP would be higher. So, EIA  
6 didn't seem like too concerned about price increases.

7           MR. BRATHWAITE: Yeah, so it might have some  
8 price increase, but supply shortages might not  
9 essentially occur, is what it essentially is.

10          MR. CHAUDHURY: Right, right.

11          MR. BRATHWAITE: I see.

12          MR. CHAUDHURY: And important thing is that an  
13 LNG export is not really exogenous. Even though the way  
14 DOE wanted them to model it is exogenous. You know, LNG  
15 export is exogenous. It's a function of how much  
16 production is there, you know, what the price is, what  
17 the LNG price is for example, what the oil price is.

18          MR. BRATHWAITE: Oh, okay.

19          So, Gordon, what do you have to add on that one?

20          MR. PICKERING: A fair amount. First of all,  
21 going back to the EIA's original shot at assessing what  
22 is the impact of LNG exports on the country going to be.

23           I think it's not going too far to say that that  
24 report was taken apart by the industry and by, possibly,  
25 their own work, subsequently.

1           And one of the main aspects of the criticism in  
2 that report, certainly some of Navigant's criticism on  
3 the report was that all the volumes that they developed  
4 some scenario analysis around was in the Gulf.

5           I think that what you're seeing is a recognition  
6 of an administration that has certain biases built into  
7 some of its own analysis, and because of what they knew  
8 at the time they felt like these projects in the Gulf  
9 would be, perhaps, the only projects to go forward.

10           It makes a tremendous difference. And you can  
11 see in the eight LNG export applications that Navigant  
12 supported to the DOE, of which we have yet to not get  
13 approval of those that have been heard by the DOE,  
14 including the first project, so the impasse of  
15 Chenieres.

16           Is that our finding, by doing a modeling of the  
17 individual project, itself, with some scenarios in the  
18 event that other LNG was to come on from other projects,  
19 we allowed for that, what would the impact on pricing  
20 be.

21           And our finding was that, really, looking at a  
22 monthly basis out to 2035 and, lately, we're projecting  
23 to 2045 and 2050, we're finding that the impact is very  
24 little, both in the local market and also in the  
25 national market, as referenced at Henry Hub.

1           The thinking behind that, when one takes a look  
2 at that, is that there has been a change in the resource  
3 base. So, if we always go back to the fundamentals of  
4 the industry, I think we can save ourselves a lot of  
5 anguish.

6           But as the industry has evolved from a  
7 southwest-centric kind of a supply basin, toward the  
8 northeast and now, certainly, into the midcontinent area  
9 in the Bakken, and British Columbia and Alberta  
10 expansions there. Despite what people are seeing in  
11 Alberta, there's probably still potential there to turn  
12 around their decreases.

13           But as this shale resource, in particular, has  
14 become and recognized as being more regional across the  
15 country, then you have more opportunity for regional  
16 projects to be built based on regional supply, supported  
17 by regional supply, with a much different impact on the  
18 resource base as measured at Henry Hub, or any national  
19 reference point.

20           So, our findings were that without exception,  
21 and I think interestingly for us here in the west, is  
22 that our clients at Oregon LNG, and at Jordan Cove, the  
23 findings were actually, compared to the other projects  
24 on the East Coast, and in the Gulf, the end price  
25 increases were actually less.

1           So, you know, that's what our findings were.

2           MR. BRATHWAITE: Good. Very good, very good.

3 Anything --

4           MR. CHAUDHURY: Leon, I'd like to --

5           MR. BRATHWAITE: Oh, I'm sorry, sure. I'm  
6 sorry, I apologize.

7           MR. CHAUDHURY: I'd like to add that apparently,  
8 right now, that there are about 40 Bcf worth of  
9 projects, export projects out there, and we know that  
10 all of them will be built, okay.

11           MR. BRATHWAITE: Right, right.

12           MR. CHAUDHURY: And the question is how much.  
13 And with the midterm election, you know, with the Senate  
14 moving to Republican Party, and I believe that there's  
15 some talk about introducing some bill in Congress where  
16 the Department of Energy needs to determine whether a  
17 project is the public interest. I believe the window --  
18 right now there's no time limit on that. You know,  
19 right? DOE -- is it a DOE could take as long as they  
20 want?

21           MR. BRATHWAITE: Yes.

22           MR. CHAUDHURY: And I think they are putting it  
23 a time limit like 45 days.

24           MR. BRATHWAITE: Yes.

25           MR. CHAUDHURY: So, it may have some impact.



1 MR. BRATHWAITE: Sure, absolutely. Absolutely.

2 MR. PICKERING: And just if I can just say one  
3 thing here, that we lest -- we shouldn't forget, and the  
4 question here is, as I look at the words, under what  
5 circumstances would the U.S. LNG export market result in  
6 U.S. supply shortages and price increases?

7 And I think it's a bit of a loaded question, but  
8 it's an important question that I want to make clear,  
9 we've made clear at the every outset of our exploration  
10 with this gas shale business in this country.

11 Without fracking, and without horizontal  
12 drilling, we would go back most definitely to a  
13 situation we had before 2008.

14 So, if you want to talk about, and the loaded  
15 question aspect of this, and it comes up in  
16 jurisdictions around the country, and in talking to  
17 people, is that there is not everyone that believes that  
18 this technology breakthrough is the best thing for the  
19 country, or for the specific region.

20 So, if there's one thing that maybe is  
21 understated here is to recognize, certainly not  
22 suggesting that this new technology can't be applied in  
23 a very safe, practical, best practice and complementary  
24 way for the country, but would just make the point, so  
25 that everyone's clear that if you do away with this

1 technology breakthrough, you would go back to shortages  
2 that were perceived, at least before 2008.

3 MR. BRATHWAITE: Fair enough. Fair enough.

4 Anything from the audience or online?

5 We have something online? Could you read the question,  
6 please?

7 (Question from WebEx): So, LNG exports will put  
8 a floor on U.S. gas prices equal to Japanese crude oil  
9 prices, less ocean freight, terminal and liquefaction  
10 costs, and transport costs to the field from the  
11 terminal. Again, over the long haul, it's all about  
12 crude prices."

13 MR. BRATHWAITE: Okay, that was a question or a  
14 comment?

15 UNIDENTIFIED SPEAKER: It's phrased as a  
16 comment.

17 MR. BRATHWAITE: Okay, all right.

18 MR. PICKERING: I want to talk to that. I mean,  
19 I don't agree with the premise there that, necessarily,  
20 going forward that LNG, global LNG prices, which some of  
21 which are tied to oil index pricing is going to be the  
22 way of the world and the way of the market of LNG going  
23 forward.

24 I think you only need to recognize and just  
25 wait, just wait until North America starts exporting

1 natural gas at the end of next year to the world market.  
2 You're already seeing and have seen, prior to one bit of  
3 LNG being exported, the effects of, and certain things  
4 that are changing in the global market with respect to  
5 LNG pricing.

6 We also need to, in my view, need to keep in  
7 mind that if we are to think that we're the only ones in  
8 this continent that has access to gas shale, we're  
9 mistaken. Gas shale exists in a wide -- in wide  
10 proportions and large volumes around the world.

11 And as gas shale gets developed in other  
12 jurisdictions, and considering that it has different  
13 drivers than what development in this country has, which  
14 will have its own applications on the speed of  
15 development and the extent of it, we may have an  
16 entirely different global market.

17 So, to say that there is going to be a floor put  
18 to the market here, in North America, based on oil index  
19 pricing, don't agree with it.

20 MR. BRATHWAITE: Okay, fair enough.

21 You know, after we lost two of our panelists, I  
22 thought we would not have -- we would certainly be done  
23 with this thing in short speed but, obviously, that's  
24 not the case.

25 So, I will ask the rest of the questions, that

1 if you could be as brief as possible, if we are to get  
2 through the questions and stuff.

3 But let's try question number four. What would  
4 need to be done from gas infrastructure perspective to  
5 switch the Costa Azul LNG facility from an import  
6 facility to an export facility?

7 As you gentlemen know, that Costa Azul was built  
8 when we thought gas, LNG regasification was going to be  
9 the thing that was needed here in the United States, in  
10 the lower 48. But now, we are in a different  
11 environment and we are now talking about export.

12 So, Gordon, what do you think about that  
13 question?

14 MR. PICKERING: All I'll say, and I will keep it  
15 brief, is that Costa Azul, as it's currently configured,  
16 is facing a market like every other import facility in  
17 this country and has no commercial viability as it  
18 exists. It will be up to the owners of Costa Azul to  
19 determine whether and when they decide to reverse that  
20 piece of equipment into an export facility. That  
21 decision will be made by the owners.

22 Suffice it to say that the costs of liquefaction  
23 are many multiples of the regasification terminal, so it  
24 will be expensive. Looking at, and having been to the  
25 site of Costa Azul, there may be ability to be able to

1 do that, but the costs of doing that will be not  
2 insignificant, like other export facilities being  
3 proposed around the country.

4 MR. BRATHWAITE: Oh, great.

5 Anything, Sharim?

6 MR. CHAUDHURY: Actually, I really don't have  
7 any exporting knowledge to comment on this.

8 MR. BRATHWAITE: That's fine. That's fine,  
9 okay.

10 Anything in the audience or anything online?

11 No, okay. Thank you very much.

12 So, let's go to question number five.

13 California's natural gas utilities have made significant  
14 investment in gas storage facilities to provide  
15 additional supply for system reliability.

16 Independent storage facilities provide  
17 additional natural gas supplies to the California  
18 system.

19 Over the next ten years, how much additional  
20 natural gas storage is likely to be necessary to ensure  
21 system reliability in this evolving gas market? Who  
22 should develop this storage?

23 And given the fact that we are moving into an  
24 environment where we are talking about 33 percent  
25 renewables by 2020, I think this issue about storage is

1 vitally important.

2           So, Sharim, let me start with you and see what  
3 you can add about this particular issue.

4           MR. CHAUDHURY: Okay. Well, the storage, you  
5 know, SoCalGas feels like we have, you know, in terms of  
6 the inventory, we have adequate inventory to meet our  
7 need.

8           A few years ago we expanded our inventory in  
9 Honor Rancho, one of our storage facilities, by about 7  
10 Bcf additions.

11           Now, on the injection side we talked about and,  
12 Silas, you also had a presentation about the Aliso  
13 Canyon turbine replacement project. So, we are  
14 increasing the capacity that that has, the ability to  
15 increase the capacity by 145 MMCLD, million cubic feet  
16 per day.

17           And on the withdrawal side, we don't see any  
18 need, currently, okay.

19           Now, on the PG&E side, I think they have talked  
20 about in the CGA report, and also today that there's  
21 plenty of storage capacity, both by PG&E and also, you  
22 know, other parties.

23           Now, in Southern California we really don't have  
24 any other party currently, other than SoCalGas. And  
25 Silas, in your presentation you had the ten section as a

1 possibility, you know, they are considering. And I  
2 believe that they are decided against developing that.

3 MR. BAUER: That particular graphic was from a  
4 2013 report.

5 MR. CHAUDHURY: Okay.

6 MR. BAUER: So, I should have noted that it  
7 could be outdated at this point.

8 MR. CHAUDHURY: Okay, yeah, I think.

9 MR. BAUER: But on short notice I threw it into  
10 the presentation, knowing that I had not checked on that  
11 TRICOR 10 Project in a little while, and knowing that we  
12 hadn't heard much about it recently.

13 MR. CHAUDHURY: Yes.

14 MR. BAUER: So, I couldn't say a definitive no,  
15 yet, but --

16 MR. CHAUDHURY: Okay. Now, SoCalGas, you know,  
17 we're not against independent storage facility in our --  
18 in Southern California. It's just that the geography  
19 doesn't support it. You know, there are not much, you  
20 know, used up oil field, or a gas field that can be used  
21 as a storage facility.

22 The incentive, currently, is that if you look at  
23 the difference between winter and summer gas price  
24 difference, okay, it has pretty much collapsed, okay.

25 So, to develop new, independent storage

1 facility, we feel the economics is not quite there,  
2 okay. Because, typically, you fill this storage in  
3 summertime when price is to be lower and use it up in  
4 wintertime. And also, the price volatility is not there  
5 as much.

6 MR. BAUER: I see.

7 MR. CHAUDHURY: And our peak demand forecast is  
8 virtually flat, okay, so we don't see any need for any  
9 additional storage.

10 MR. BRATHWAITE: Okay, very good.

11 Gordon, anything?

12 MR. PICKERING: Just a couple of things. And I  
13 really like that we are talking about gas related to the  
14 renewable industry. That's the right way to frame this  
15 as two commodities, two energy sources that need to work  
16 together. Enough said on that.

17 But the situation, also going back to some  
18 fundamentals, changes to the market as a result of gas  
19 shale, and what has been referred to, and keep in mind  
20 when we're talking about storage, is the volatility and  
21 the potential, and we've seen some signs of it, despite  
22 what happened last winter, that with gas shale, and what  
23 we have described as a manufacturing process of gas  
24 shale development, has the potential to impact  
25 volatility in the gas market going forward.

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417



1           The volatility of pricing in the gas market has  
2 been the bug bear of additional market for natural gas  
3 long before now.

4           But with this resource as the sliver, of the  
5 total gas production becomes the majority by 2020, we  
6 now begin to have 58 percent of the market producing  
7 supply side of the U.S. market being -- coming from gas  
8 shale.

9           Then, you start to have more of an impact, as we  
10 go along, of gas shale and the type of resource,  
11 fundamentally, that that is, that lends itself to less  
12 price volatility in the market going forward.

13           That, again, is a roundabout way of then  
14 starting to address this storage situation which, as a  
15 result of a regional disperse nature of the gas shale  
16 resource around the continent, plays into the economics  
17 and the commercial basis between, certainly Henry Hub,  
18 and the demand areas, and in California.

19           Which suggests that, from a commercial basis,  
20 hard to put the economics together. And I don't think  
21 this is going to change. It's apt to be more apparent  
22 going forward.

23           Leaving the situation that if there is more  
24 storage to be built in California, it probably needs to  
25 come from the demand side, whether that's the utilities,

1 from the State, itself, who knows. But my guess is that  
2 if additional storage is to be built, it will not be  
3 done by the producing sector of the market for some  
4 time.

5 MR. BRATHWAITE: Okay. Any comments from the  
6 audience or online?

7 Okay, hearing none, we'll move on to question  
8 number six.

9 Sharim, I'll got you again, and then Gordon will  
10 tie up on question number seven.

11 The polar vortex that led to the gas supply  
12 shortage and the curtailments of electric generation  
13 facilities in February of 2014, highlighted the fact  
14 that California, despite having a great deal of  
15 redundancy built into its natural gas infrastructure, is  
16 not immune to supply constraints.

17 What is the outlook for the U.S., and California  
18 in particular, this coming winter in terms of gas  
19 storage availability, gas supply, and potential weather  
20 events?

21 Sharim.

22 MR. CHAUDHURY: Okay. Now, this came up in  
23 multiple sort of group discussion today, this morning  
24 and afternoon, so I'll be brief.

25 So, the bottom line is that the problem was not

1 a shortage of physical gas supply. Basically, the gas  
2 moved exactly as we expected it to move. It moved to  
3 higher price markets, okay, given the incentives, okay.  
4 So, that was not a supply.

5 So, what caused it? And we believe the problem  
6 is with our sort of very relaxed winter balancing rule,  
7 okay. And that's why, Silas, as you presented that most  
8 of the time the effective winter balancing rule is that  
9 within a five-day period, you know, you have to bring in  
10 50 percent of your usage, bring in supply.

11 So, on a particular day, when the price is very  
12 high, say for example, even in supply basin, compared to  
13 SoCal border, or in northeast, you can deliver zero  
14 amount of gas, okay.

15 So, I think the main problem is our very, very  
16 relaxed winter balancing rule. And we are trying to  
17 correct that through our OFO application. And we are  
18 proposing very similar to what PG&E's, you know, low OFO  
19 rule.

20 And it seems like PG&E has gotten through this  
21 polar vortex issue better than we did, okay, so I think  
22 our winter balancing rule tightening up is going to  
23 help.

24 MR. BRATHWAITE: Okay. In the interest of time,  
25 is there anybody from the audience have anything,

1 quickly? Or online? No, okay.

2 Well, in the interest of time, Gordon, let's go  
3 on to question number seven.

4 MR. PICKERING: Okay.

5 MR. BRATHWAITE: And I will ask you to -- let me  
6 just read the question and then you can answer as you  
7 see.

8 Mexico has plans to convert many of its oil-  
9 fired electricity generation facilities to natural gas  
10 and to build many new gas-fired electricity generation  
11 plants.

12 Although Mexico's recent energy reforms would  
13 encourage new natural gas exploration and production in  
14 Mexico, significant increases in domestic production are  
15 not expected for years to come.

16 In the interim, Mexico will be importing more  
17 gas from the U.S. over a new pipeline new  
18 interconnections, or over the same interstate pipelines  
19 that supply Southern California Gas Company's Southern  
20 System.

21 What are the risks that these increasing natural  
22 gas exports to Mexico will cause supply shortfalls  
23 and/or price increases for Southern California?

24 And you remember, during my presentation, I did  
25 show you what Mexico imports are going to look like

1 through 2025.

2 So, if you will, Gordon, could you address that  
3 for us, please?

4 MR. PICKERING: Yeah, as exports to Mexico, from  
5 the United States, increase, and our forecast would  
6 be -- would agree with the increases. I'd have to take  
7 a closer look at the numbers, but certainly think that's  
8 the case.

9 And cap the course by potential resource  
10 development in Mexico, especially in Nuevo Leon, south  
11 of the Eagle Ford, and that area, probably, that has  
12 great potential, itself, to produce gas in some time  
13 horizon.

14 But I would only go back to while the exports to  
15 Mexico are increasing, so are production, and certainly  
16 production potential, but production from the  
17 Marseilles, in particular.

18 And look at the production profile of the  
19 Marcellus, as additional pipeline capacity gets  
20 reconfigure out of the Marcellus, is apt to even play  
21 into a California story.

22 So, as the market shifts toward additional  
23 supply into Mexico, other changes will compensate within  
24 this country and within Canada to be able to more than  
25 compensate, all based on a situation here that we have

1 in North America of natural gas supply abundance.

2 MR. BRATHWAITE: Good. Sharim, if you have  
3 something brief to add?

4 MR. CHAUDHURY: Yeah, very briefly that, you  
5 know, part of the export to Mexico would be supplied  
6 through the El Paso South Main Line, you know, through  
7 lateral either in Texas or Arizona, for example, okay.

8 So, the concern is that the delivery to  
9 Ehrenberg, or Blythe on the California side could be  
10 impacted.

11 So, can we expect -- could price -- could export  
12 to Mexico drive up the prices? Yes. Because if you  
13 look at what the major growth would be in electric  
14 generation in Mexico, and part of that electric  
15 generation would be converting from, you know, oil-fired  
16 generation to gas-fired generation.

17 So, potentially, they could pay a higher price  
18 than the current \$4, okay.

19 So, clearly, that gas demand is going to compete  
20 with delivery at Ehrenberg. And given that they're  
21 switching from oil, you know, they potentially could pay  
22 a higher price, okay.

23 MR. BRATHWAITE: Oh.

24 MR. CHAUDHURY: And also, you know, it's not  
25 only the price going up, okay, that their supply may not

1 be available because we're at the tail end of the straw,  
2 you know. Gas can leak out before it gets to Ehrenberg.

3 MR. BRATHWAITE: Okay. Does anybody, quickly,  
4 in the audience have anything to add?

5 MR. PEDERSEN: Normal Pedersen, Leon, for SDGC.

6 MR. BRATHWAITE: Okay.

7 MR. PEDERSEN: We tend to agree with Gordon  
8 Pickering. And one thing that Gordon did leave out was  
9 not only do you have the reconfiguration of pipelines  
10 bringing gas out of places like the Marcellus but I  
11 think you said earlier, the permitting is going flat  
12 out.

13 MR. BRATHWAITE: Yeah.

14 MR. PEDERSEN: And actually, at the April 16th,  
15 Gas Stakeholders Workshop, Kinder Morgan gave an  
16 excellent presentation on how -- I won't repeat here --

17 MR. BRATHWAITE: Yes.

18 MR. PEDERSEN: -- on how supply is increasing in  
19 the Permian.

20 Now, Sharim, you indicated that there might be a  
21 problem because gas will leak out, I think you said, off  
22 the south main line and not make it to California.

23 That is probably the problem that needs to be  
24 addressed by California, making sure the capacity on the  
25 south main line continues to be there. There's going to

1 be an abundance of supply, the supply is going to be  
2 there. Make sure the capacity is there to get the gas  
3 to Ehrenberg.

4 And certainly, in our view, there are multiple  
5 answers to that. For one thing, you know, we've had a  
6 great experience with the memoranda in lieu of  
7 contracts. We've had a great experience with the  
8 baseload contracts.

9 Taking care of the Southern System for winter  
10 2013-14, as we discussed this morning, you know, one  
11 possibility, after we go through this three-year  
12 experimental period with the baseload contracts and the  
13 MILCs, is to make them longer term.

14 And so, the party who's holding the baseload  
15 contract will see it in his interest to go out and take  
16 the capacity on the south main line to assure that that  
17 capacity is there to bring the gas to California.

18 And we might even go so far, I mean I don't know  
19 if we want to go there, but we might even go so far as  
20 to do what we did with -- what the CPUC did back in  
21 2002. You remember there was a problem with a turn-  
22 back, capacity being turned back to El Paso and the  
23 Commission came along and ordered the utilities to  
24 procure capacity on El Paso.

25 That's kind of an extreme step but, you know, we



1 could even go there, maybe with the utilities hiring  
2 asset managers to use that asset to bring gas to  
3 California.

4 So, there are multiple solutions to being sure  
5 that we have the capacity available to bring this  
6 abundant supply to California.

7 Thank you, Leon.

8 MR. BRATHWAITE: Thank you very much.

9 Anything else? Oh, you want to say something,  
10 Gordon?

11 MR. PICKERING: Here, here.

12 MR. BRATHWAITE: Okay.

13 MR. PICKERING: It sounds like we're in the  
14 northeast here, right.

15 (Laughter)

16 MR. BRATHWAITE: That was it?

17 MR. PICKERING: That's it.

18 MR. BRATHWAITE: Okay. Are there -- wait,  
19 gentlemen, we're not done, yet.

20 Are there any comments either in the audience  
21 here or anybody online? No.

22 Okay, hold on. Yes, certainly.

23 Anyway, this brings us to the end of our panel  
24 discussion. Sharim Chaudhury, Gordon Pickering, on  
25 behalf of the Energy Commission, I thank you.

1 I will now turn it back to Silas.

2 MR. BAUER: My quick note is just to say thank  
3 you very much to both of you. You did a commendable job  
4 carrying the load for what was originally supposed to be  
5 even six people on this panel. And then it was four.  
6 And then it was two. And the questions were written for  
7 the six people.

8 And so, you carried the load on a lot of  
9 questions that weren't necessarily designed for you, so  
10 I really appreciate that.

11 That brings one other quick note, and this is  
12 for everybody who's here, and also anybody listening,  
13 all of the questions for all three panels, not just this  
14 panel, but all of the panels are online, in our docket.  
15 And we encourage anybody, who would like to take a stab  
16 at answering any of the questions to go in, take a look  
17 at the questions, and then e-file your comments and your  
18 answers in our docket. That would be very helpful.

19 So, if there are people who are listening now,  
20 who were originally supposed to be here today, please  
21 feel free to write your answers down and send them into  
22 us. Thank you.

23 MR. KENNEDY: I'll just mention this workshop is  
24 being done in conjunction with the Natural Gas Working  
25 Group. In the past, we would have Natural Gas Working

1 Groups here at the Energy Commission, and this would  
2 give us an opportunity to talk about natural gas issues,  
3 and to have a healthy discussion about the issue then.

4 As you can see, we've done just that today. So,  
5 at this time, this is an opportunity to open it up to  
6 all Natural Gas Working Group members, or whomever else  
7 here, in the room, or even online right now, to open it  
8 up to free-flowing discussion.

9 If you have any issues that you would like to  
10 discuss, that haven't been addressed so far today, now  
11 is your opportunity to step forward and/or submit a  
12 question online for us to discuss.

13 MR. FERRARI: Hello, my name is Joe Ferrari.  
14 I'm a Market Development Analyst for Wartsila North  
15 America. And I just want to address one of the  
16 questions for the Natural Gas and Electricity Panel.

17 Question number nine said -- just in short, it  
18 said the flexible capacity of gas generation is less  
19 efficient than combined cycles. And the question is,  
20 will more frequent use of flexible capacity actually  
21 contribute to increased use of natural gas as a  
22 generation fuel for California?

23 And our analysis shows that the proper  
24 allocation of simple-cycle flexible capacity can  
25 actually increase system efficiency and reduce gas

1 consumption.

2           Now, on the panel, earlier, gas-fired capacity  
3 was mentioned as a tool, one of many, along with storage  
4 and renewables. But I would just like to say that we  
5 see natural gas as a toolbox, there's multiple  
6 components to it.

7           So, we know that combined cycles are their most  
8 efficient gas generators and they're not meant for  
9 highly-cyclic operation. They're best considered as  
10 part of the fleet, but not the only part.

11           I see the role of flexible capacity as not being  
12 to displace combined cycle generation, but rather to  
13 work in concert with it to provide an optimal balance of  
14 reliability and cost effectiveness.

15           When considered appropriately, flexible capacity  
16 can increase the fleet efficiency and reduce gas  
17 consumption and CO2 emissions by absorbing the net load  
18 fluctuations in an efficient manner and allowing  
19 combined cycles to run at a higher capacity factor, at  
20 higher loads, and with a reduction in the number of  
21 costly starts and stops.

22           And when I say appropriate, considered  
23 appropriately, I'm talking about two points. One is  
24 using the proper analysis techniques. So, when you're  
25 doing capacity expansion modeling moving forward to

1 choose what types of capacity you will install, you  
2 really need to use something like chronological capacity  
3 expansion modeling.

4           The current methods, based on load duration  
5 curves, they don't actually give you what you need, so  
6 then you have to follow it up with dispatch analyses to  
7 sort of plug flexibility holes. And that's sort of a  
8 sub-optimal process.

9           And then, using a more diverse pool of flexible  
10 capacity choices, which right now are routinely viewed  
11 as consisting only of air derivative and, at times,  
12 frame gas turbines.

13           We think that the pool should be broadened to  
14 include other options, such as internal combustion  
15 engines, power plants which can be configured for plants  
16 up to 500 megawatts, from 10 megawatts all the way up to  
17 500. They're modular, in unit sizes of about 10 or 20  
18 megawatts.

19           To support this with our written -- with our  
20 testimony, we're going to also submit two white papers,  
21 that we co-authored with Energy Exemplar, and they've  
22 actually been shared with some of the panel members  
23 already.

24           These reports show that if ICEs are included in  
25 the capacity mix in California, for the years 2020 and

1 beyond, when you're at your 33 percent, or even higher  
2 RPS, that we can actually show how this will reduce  
3 ratepayer cost by up to six percent by increasing fleet  
4 efficiency, reducing outbacks and, in turn, reducing gas  
5 and CO2 -- gas usage and CO2 emissions by up to two  
6 percent. So, thank you.

7 MR. KENNEDY: Thank you for your comments and we  
8 look forward to the white papers.

9 And just to comment on that, it's true, like  
10 necessity's the mother of invention, and seeing all  
11 these renewables put on the grid is forcing a lot of  
12 folks to go back to the drawing board. And we're seeing  
13 improvement in technologies where, you know, there  
14 doesn't have to be a sacrifice as far as flexibility,  
15 and efficiency, and for the emissions.

16 And, you know, responding to Cal ISO's  
17 requirements for a flexible capacity, as far as frack  
18 move (phonetic), we have been seeing a lot of requests  
19 to change their permits so that they can operate in a  
20 more flexible capacity manner. And also, new  
21 applications of new facilities to be able to ramp more  
22 quickly, in a shorter amount of time.

23 And you're right, using this new technology.  
24 So, thank you for your comments.

25 MR. FERRARI: Sure. Thank you.

1           MR. KENNEDY: Are there any more comments in-  
2 house, anyone that would like to step forward and ask  
3 any questions, or make any comments?

4           Okay. Well, I just want to remind everyone that  
5 we do have our Natural Gas Working Group meeting, we  
6 host it about twice a year. So, be sure to leave your  
7 contact information up front, your e-mail address, and  
8 I'll be sure to add you to the distribution list. And I  
9 can get the information to you as far as what kind of  
10 topics we'll be discussing and when we'll be hosting our  
11 future Natural Gas Working Group meeting.

12           I'll return control to Silas.

13           MR. BAUER: I don't have much to say. Just  
14 thank you very much for coming today. And we appreciate  
15 any and all feedback. And especially to panelists,  
16 thank you so much for participating today.

17           (Thereupon, the Workshop was adjourned at  
18 3:40 p.m.)

19   --oOo--

20

21

22

23

24


25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 15th day of December 2014.



---

Kent Odell  
CER\*\*00548




**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 11th day of December, 2014.



---

Barbara Little  
Certified Transcriber  
AAERT No. CET\*\*D-520