

DOCKETED

Docket Number:	15-IEPR-04
Project Title:	AB1257 Natural Gas Act Report
TN #:	205165
Document Title:	Transcript of June 1, 2015 Commissioner Workshop
Description:	Fugitive Methane Emissions in California's Natural Gas System in Support of the AB 1257 Report
Filer:	Sabrina Savala
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	6/26/2015 9:26:41 AM
Docketed Date:	6/26/2015

APPEARANCES

Commissioners Present

Robert B. Weisenmiller, Chair, CEC

Staff Present

Heather Raitt

Ivin Rhyne, Moderator, Manager, Supply Analysis Office

Chris Marxen, Moderator

Mike Gravely, Deputy Division Chief, Energy Research and
Development Division, CEC

Guido Franco

David Stoms, Moderator, Energy Research and
Development Division

Guest Speakers

Elizabeth Scheehle, California Air Resources Board

Chuck Magee, California Public Utilities Commission

Steven Bohlen, California Department of Conservation,
Division of Oil, Gas and Geothermal Resources

Timothy O'Connor, Environmental Defense Fund

Ramon Alvarez, Environmental Defense Fund

Dr. Marc Fischer, Lawrence Berkeley National Laboratory/
UC Davis

Francois Rongere, Pacific Gas & Electric Company

Deanna Haines, Southern California Gas Company and
San Diego Gas & Electric

Also Present (* by WebEx)

Public Comment

*Rosa Dominguez

Allison Smith, Southern California Gas

Ryan Kinney, Clean Energy

I N D E X

	<u>Page</u>
Introduction	
Heather Raitt, CEC	4
Opening Comments	
Chair Robert B. Weisenmiller, Lead Commissioner for Electricity and Natural Gas	5
AB 1257 Overview	
Chris Marxen, CEC	6
California State Agency Perspectives	
Moderator: Ivin Rhyne, CEC	8
Mike Gravely, Deputy Division Chief, Energy Research and Development Division, CEC	10
Elizabeth Scheehle, California Air Resources Board	22
Chuck Magee, California Public Utilities Commission	38
Steven Bohlen, California Department of Conservation, Division of Oil, Gas and Geothermal Resources	52
National Research on Methane Emissions from the Natural Gas System	
Moderator: Chris Marxen, CEC	78
Timothy O'Connor, Environmental Defense Fund	78
Ramon Alvarez, Environmental Defense Fund	81
California's Ongoing Research and Potential Detection and Mitigation Efforts	
Moderator: David Stoms, CEC	141
Dr. Marc Fischer, Lawrence Berkeley National Laboratory/UC Davis	142
Francois Rongere, Pacific Gas & Electric	162
Deanna Haines, Southern California Gas Company and San Diego Gas & Electric	175
Public Comment	
Adjournment	205
Certificate of Reporter	206
Certificate of Transcriber	207

1 P R O C E E D I N G S

2 JUNE 1, 2015 9:34 a.m.

3 MS. RAITT: All right, we'll go ahead and
4 get started. Good morning. Welcome to today's
5 IEPR Commissioner Workshop on Fugitive Methane
6 Emissions.

7 I'm Heather Raitt, the Program Manager
8 for the IEPR. I'll go over a few housekeeping
9 items.

10 The restrooms are in the atrium; a snack
11 room is on the second floor at the top of the
12 atrium stairs.

13 If there is an emergency and we need to
14 evacuate the building, please follow staff to
15 Roosevelt Park which is across the street
16 diagonal to the building.

17 Today's workshop is being broadcast
18 through our WebEx Conferencing System and parties
19 should be aware that you're being recorded.
20 We'll post the audio recording on the Energy
21 Commission's website in a couple of days and a
22 transcript in about a month.

23 Today we'll have break for an hour lunch
24 at about 12:30. At the end of the day there will
25 be an opportunity for public comments. We're

1 asking parties to please limit their comments to
2 three minutes so that the maximum number of
3 participants will have an opportunity to speak.

4 For those in the room who would like to
5 make comments, please fill out one of these blue
6 card and give it to me. When it's your turn to
7 speak, please come to the center podium and speak
8 in the microphone.

9 For WebEx participants, you can use the
10 chat function to tell our WebEx Coordinator that
11 you would like to make a comment during the
12 public comment period, and then we will either
13 relay your comment or open your line at the
14 appropriate time. For phone-in participants, we
15 will open the lines after hearing from the in-
16 person and WebEx comments.

17 If you haven't already please sign in at
18 the entrance of the hearing room. Materials for
19 the meeting are available there.

20 Written comments are due on June 15th.
21 And the workshop notice explains the process for
22 submitting comments.

23 And with that, I'll turn it over to Chair
24 Weisenmiller.

25 CHAIRMAN WEISENMILLER: Good morning.

1 I'd like to thank everyone for their
2 participation today. Obviously this is one of
3 our more important topics as we think through the
4 policy issues associated with natural gas is the
5 fugitive emissions question, which certainly can
6 have significant impacts in terms of greenhouse
7 gas or climate change, and also may even have
8 safety implications.

9 I always think of the cover of the
10 *Science Magazine* that had the picture from space
11 of sort of the emissions where you saw sort of a
12 real hot spot around Four Corners, and sort of a
13 less hot spot, but still a spot around I want to
14 say Bakersfield.

15 So, again, it certainly brought home that
16 that's an issue that we really need to focus on
17 and certainly looking forward today to hearing
18 about the most recent scientific research on this
19 top, so we can get a better handle on what the
20 policy implications are. And thanks.

21 MS. RAIT: Our first speaker is Chris
22 Marxen.

23 MR. MARXEN: Good morning, everybody.
24 Good morning, Mr. Chair.

25 In 2013, the Governor signed into law

1 Assembly Bill 1257. The legislation mandates the
2 Energy Commission to produce a report to identify
3 strategies to maximize the benefits obtained from
4 Natural Gases and Energy Source. The first
5 report is required to be published on November 1,
6 2015, and then every four years thereafter.

7 This workshop today is the fourth subject
8 matter workshop that the Energy Commission has
9 held for the report.

10 We have previously conducted workshops on
11 Transportation, California's Natural Gas
12 Infrastructure, and the Use of Natural Gas in
13 Zero Net Energy Buildings.

14 We currently anticipate releasing a Draft
15 Report to the public in late July and plan to
16 hold a workshop on the Draft Report in late
17 August.

18 Today we have assembled three panels who
19 will present their viewpoints relating to the
20 following topics: 1) California State Agencies
21 Perspectives; 2) Research on Methane Emissions
22 from the Natural Gas System; and 3) California's
23 Ongoing Research and Potential Detection and
24 Mitigation Efforts.

25 Information presented at these workshops

1 and received during the comment period will be
2 considered and incorporated as appropriate into
3 the Final AB 1257 Report. With that, I'd like to
4 turn the microphone over to Ivin Rhyne for the
5 first panel.

6 MR. RHYNE: Thank you, Chris. My name is
7 Ivin Rhyne, I'm the Manager of the Supply
8 Analysis Office here in the Energy Commission.
9 And it's my pleasure to head up this first set of
10 panelists.

11 This first panel really brings together
12 members of the California State Government.
13 California is engaged on a number of issues
14 related to understanding and curbing the methane
15 emissions associated with Natural Gas.

16 This morning, I'll be giving a brief
17 introduction to each of the speakers, we've asked
18 the speakers to give short presentations
19 associated with their areas of expertise, and at
20 the end we'll have some follow-up questions both
21 from myself, from the dais, and anyone in the
22 public who is interested in asking questions of
23 the members of the panel.

24 So with that, we'll start first with the
25 Energy Commission and I'll introduce our first

1 speaker, Mike Gravely. Mike Gravely is the
2 Deputy Division Chief of the Energy Research and
3 Development Division at the California Energy
4 Commission. This Division manages over \$150
5 million annually in new energy-related research
6 and development projects.

7 His efforts and the efforts of his
8 division support the energy research and
9 development needs of the State in a variety of
10 areas and include expanding energy efficiency and
11 demand response, integrating renewables,
12 evaluating new advanced generation systems,
13 implementing the California Smart Grid, guiding
14 energy related environmental research, of which
15 methane emissions falls under, and assessing
16 future energy storage needs and demonstrating
17 energy smart sustainable communities.

18 Mike Gravely has a prepared presentation,
19 so, Mike, the floor is yours.

20 MR. GRAVELY: Good morning. My
21 discussion today on our research and development
22 at the Commission here will focus in two areas,
23 the first one is the research we're doing
24 specifically on methane emissions and assessment
25 and mitigation. And then the second part of this

1 will be discussing our work in pipeline
2 infrastructure integrity and safety.

3 Currently we've got some existing
4 projects, and I'll cover these first and then
5 I'll discuss a couple of our successful past
6 projects and be prepared to answer any questions
7 you may have. There are also several of the
8 researchers are here if there are specific
9 questions that I'm not able to answer, then I'll
10 be glad to bring them up to the mic for them to
11 answer any questions that may come up.

12 In the area of methane emissions, the
13 four projects that we've talked about in general,
14 and I wanted to cover the overall assessment, one
15 project is looking at the quantification of the
16 residential area and making measurements to
17 determine if the residential peaks are in line
18 with the expectations or higher than expected
19 areas, and what areas they would be -- talking
20 about natural gas use in the home for heating and
21 for cooking and other opportunities for natural
22 gas, and determining if there is a substantial
23 amount of leakage that needs to be addressed in
24 that area.

25 The next area is improvements in leak

1 detection and this is a case where they're
2 working with the utilities to determine if there
3 are better ways to detect natural gas leak of the
4 infrastructure, and also to determine ways to
5 identify areas where this will be the best for
6 mitigation and determine how to do that. This
7 would be developing analytical areas and this is
8 one where they've actually been looking at taking
9 some measurements and then determining from those
10 measurements where the best areas are.

11 Evaluation of Opportunities to Mitigate
12 Fugitive Methane Emissions from the California
13 Natural Gas System. In this case here, it's
14 looking at the whole system, in general, across
15 the industry, trying to find methodologies to
16 reduce methane emissions and also to determine
17 different mitigation techniques and compare the
18 cost of the mitigation to the value of the
19 mitigation technique to determine which ones are
20 most cost-effective for the utility.

21 And this last one here is on a Top-down
22 quantification where they're looking at taking
23 air measurements and land measurements and trying
24 to figure out methodologies to assess where the
25 leakages are coming out of buildings, coming out

1 of pipes, and also to determine the
2 concentration, and based on that to develop some
3 assessment of where we are and also come up with
4 various areas for mitigation.

5 A couple of major successes that we've
6 completed in the past or are wrapping up right
7 now, this case here, there is some work being
8 done by the Lawrence Berkeley National Lab where
9 they took some measurements from towers and
10 actually measured the intensity of the methane in
11 the air to determine if they could use those
12 measurements to actually take over time,
13 reductions; as we address our AB 32 goals, one of
14 the elements is determining if we're getting the
15 savings that we're expecting to get and are we
16 actually reducing those. So this one is where
17 they actually took two different towers, took the
18 readings and developed models to see if they were
19 able to in fact measure that and estimate that.

20 In the area of natural gas system, this
21 is a case where they've looked at the different
22 areas throughout the state and determined what
23 methodologies were available in the distribution
24 system, as well as production and processing of
25 natural gas, the storage of natural gas, and

1 transmission of natural gas, looking for areas
2 for potential leakages and looking for areas for
3 mitigation opportunities.

4 The final one we have here is talking
5 about the opportunity where we're doing some
6 actual airborne measurements here, so they're
7 doing measurements both from aircraft, as well as
8 ground systems, and they're measuring the
9 intensity of the methane in the air and they're
10 able to separate the intensity from the
11 technology that they're using, and also help them
12 to understand if they can determine where the
13 leakage is coming from. The goal here would be
14 to be able to identify leaks from a non-intrusive
15 system and also to be able to determine where
16 it's coming from and go back and work on reducing
17 those emissions.

18 The next area in Research and Development
19 is in Pipeline Safety and Infrastructure and
20 Integrity. Here are some of the ongoing projects
21 here looking at monitoring the system to
22 determine where the leaks are and determining how
23 to mitigate those potential leaks. There's
24 technologies in this area, we're looking at two
25 types of technologies, one would be technology

1 where you would run sensors through the pipes and
2 they would look for integrity, they would look
3 for cracks, they would look for wells and joints,
4 and the other one is you're trying to find
5 opportunities to determine leaks and determine
6 the integrity of the system by not having to be
7 intrusive, in other words by using sensors, by
8 using computer systems to track the movement of
9 the gas through the lines, and to do that in a
10 manner that you would be able to predict when an
11 unusual amount of gas was leaking in one area to
12 give you some kind of indication that there was
13 an area that needed to be researched in more
14 detail, or looked into closer.

15 Here are a couple examples of work that
16 we've done. This shows you one of the types of
17 sensors that goes through the pipeline on the top
18 picture, and on the bottom picture it shows you
19 the NIMS technology that's used for measuring,
20 again, some of this is done inside the pipe, some
21 of this is done outside, it depends on whether
22 you're trying to look at things as for actual
23 pipe integrity. Obviously, when you get inside
24 the pipe, then that requires more intrusion into
25 the system than if you can develop a sensor

1 system that can do this outside the pipeline and
2 without having to shut down the pipe and do these
3 maintenance activities.

4 This is another technology we looked at,
5 so we've been looking at different ones to
6 develop not only pipeline integrity, to be able
7 to look for corrosion, to be able to look for
8 cracks in the pipe, to be able to look for leaks,
9 this is another technology, another vendor
10 product to go through the pipelines checking for
11 integrity and being able to determine the
12 potential for leaks in the future.

13 The next one hear talks about where a
14 computer system, where they're looking at
15 monitoring the natural gas system, and looking at
16 the flow through the system to determine if the
17 flow has been disrupted, determine if there is an
18 area there. It also allows them to look at
19 intrusion, so if someone is digging and begins to
20 impact the pipe, and they begin to see changes,
21 they'll notice it right away and can maybe, if
22 they haven't been determined, they can go make a
23 correction enacted before it becomes more
24 damaging from there.

25 So again, if there are any questions from

1 the panel?

2 CHAIRMAN WEISENMILLER: Yeah, let's start
3 with I guess the basic question on methane
4 emissions, a lot of our work seems to be focused
5 on pipelines, and I was trying to understand our
6 ability to differentiate between gas from pipes,
7 natural gas, versus emissions from Agriculture,
8 you know, things like raw sewage, composting. So
9 where are we at this point in terms of the census
10 between the two? I don't know if Guido --

11 MR. GRAVELY: Dr. Guido will answer here
12 for us. But in general, they're able to use
13 methodologies to determine the difference and
14 specify it, but I'll give more specific answers
15 from Guido here.

16 MR. FRANCO: Thank you, Mike. I don't
17 have a doctor's degree, but it looks like it.
18 Okay, yeah, so the researches are using tracers
19 like for example ethane --

20 CHAIRMAN WEISENMILLER: Okay.

21 MR. FRANCO: -- that are associated with
22 methane types of releases from the natural gas
23 system, but it is not present in -- or almost no
24 presence from biogenic sources like landfills or
25 other sources. And also, they are using oil

1 traces opportunities like volatile organic
2 compounds, you know, that could differentiate
3 from where the methane emissions are coming from.

4 CHAIRMAN WEISENMILLER: Okay and in terms
5 of looking at our overall inventory, what's your
6 sense of the breakdown of fugitive emissions
7 between, you know, this sort of biogenic versus
8 the natural gas pipeline system?

9 MR. FRANCO: Okay, the ARB inventory
10 suggests that, at least for the San Joaquin
11 Valley, that the vast majority of emissions are
12 coming from landfills, dairy farms, and in
13 general the agricultural sector. A relatively
14 small amount is coming from the natural gas
15 system, but a relative number depends on the eye
16 of the person looking at the data. This
17 afternoon, Dr. Marc Fischer will give a
18 presentation about the latest results.

19 CHAIRMAN WEISENMILLER: Okay, do you have
20 a sense of natural seepage? What that level
21 might be?

22 MR. FRANCO: Natural seepage is mostly
23 happening at least in Los Angeles, in the Los
24 Angeles area, and there have been attempts to
25 estimate the natural emissions and to be able to

1 estimate the emissions from the natural gas
2 system because when you are measuring
3 concentrations you cannot distinguish between
4 natural seepage and the methane coming from the
5 natural gas, but there have been different
6 studies trying to estimate emissions coming from
7 natural seepage.

8 CHAIRMAN WEISENMILLER: Do you have a
9 sense of the seasonal variation on gas, on
10 emissions, particularly on the pipeline system?

11 MR. FRANCO: We don't have information,
12 but one of the things that Marc Fisher is going
13 to say is that emissions are sporadic, there is
14 not a steady level of emissions, so spot
15 measurements may not do the job because we need
16 methane emissions on an annual basis, and he will
17 talk about the fact that in some cases he sees
18 high emissions, on other days his measurements
19 suggest relatively low emissions. So there's a
20 need for more continuous type of measurements to
21 get at an annual level estimation of emissions.

22 CHAIRMAN WEISENMILLER: Yeah, I mean
23 obviously in terms of operating the gas system,
24 you can pack gas in at certain times, you know,
25 if you expect surges in demand, or again you've

1 got that variation of packing and also in terms
2 of demand, you could have periods where there's
3 lots of gas flowing out or other periods like the
4 summer where there was presumably relatively
5 little.

6 MR. FRANCO: Yeah, so our research is
7 trying to explain or trying to find reasons for
8 these high emissions, but I think we're not there
9 yet. Like for example, in underground storage
10 facilities the emissions are not constant. And
11 we're trying to figure out, you know, under what
12 circumstances we see relatively high emissions.

13 CHAIRMAN WEINSEN MILLER: And some of the
14 research you and I have talked about also talks
15 about the Fat tail distribution that we might
16 have, say, 80,000 oil and gas wells in
17 California, but that there's a limited number of
18 those that are relatively high emitting. So, as
19 we go through the various studies, how are we
20 sort of differentiating between those fat tails?

21 MR. FRANCO: Yeah, so the same results
22 apply for the entire natural gas system and we're
23 seeing the same behavior; even when Fullerton
24 State University measured emissions from other
25 compound levels, like for example valves or

1 phalanges, and the same thing. And the problem
2 is that there are no easy ways to determine a
3 priori when a unit or a system is going to be a
4 high emitter, a super emitter. So we need to
5 start developing methodologies to identify super-
6 emitters. And there are efforts on the way, you
7 know, to do that including I think some
8 presentations the EDF is going to provide today,
9 but there are other groups doing similar things
10 and we're involved in that type of work.

11 CHAIRMAN WEISENMILLER: Okay, last
12 question is, similarly in terms of homogeneity,
13 one of the things we're going to look at is
14 residential emissions and sort of those of us in
15 the Energy Efficiency Space, you know, going back
16 to Socolow's pioneering work at Princeton, always
17 sort of realized that you could have a
18 subdivision of houses and, depending upon the
19 construction practices, you'd have much different
20 energy efficiency or energy usage going across
21 that subdivision. So I'm trying to understand
22 statistically, you know, how are we dealing with
23 the potential variation in households as we try
24 to track what their contribution is.

25 MR. FRANCO: Yeah. So Barry Fischer and

1 his group have conducted some very preliminary
2 measurements, just about 10 homes, and it was
3 mostly to develop the methodology to estimate
4 emissions from homes. But there is new work that
5 started just a few months ago where he's going to
6 be measuring about 100 homes in California; that
7 may not be enough, but the idea is to start this
8 work and find out what else is needed. Again, he
9 will be presenting some results this afternoon
10 suggesting that, yeah, we have leaks from our
11 homes. And we also have planned work looking at
12 all the facilities downstream of the meters like
13 buildings, industry, homes, I mean, yeah, other
14 end users.

15 CHAIRMAN WEISENMILLER: Okay, thanks.
16 Let's go on to any other questions for Mike or
17 Guido.

18 MR. RHYNE: Right. None for me. So
19 thank you, Mike; thank you, Guido. We'll set up
20 for the next presentation here.

21 Our next presenter is Elizabeth Scheehle
22 from the California Air Resources Board.
23 Elizabeth is a Branch Chief for the Oil and Gas
24 and Greenhouse Gas Mitigation Branch at the Air
25 Resources Board. She's been at the Air Board for

1 eight years with experience in oil and gas,
2 carbon capture and sequestration, cap-and-trade,
3 and field measurements. In her current position,
4 she oversees regulatory and analytical
5 initiatives related to the oil and gas sector.

6 Before joining the Air Board, Elizabeth
7 was a Senior Analyst in U.S. EPA's Climate Change
8 Division. She holds Master's Degrees in Public
9 Health from John Hopkins University and a
10 Master's in Public Policy from Harvard
11 University's Kennedy School of Government, and an
12 Undergraduate Degree in Earth and Atmospheric
13 Sciences from Georgia Institute of Technology.
14 Elizabeth?

15 MS. SCHEEHLE: Thanks. And thank you for
16 the opportunity to talk about what ARB is doing
17 on oil and gas, on methane emissions from oil and
18 gas. This is an important part of our overall
19 goals to reduce back to 1990 levels by 2020 and
20 the recently announced Governor's goal of
21 reaching 40 percent by 2030.

22 I'll walk through why we feel methane
23 emissions from the sector are important, what can
24 be done, what ARB is doing, what research we're
25 conducting, and what's our plan going forward.

1 So supporting our greenhouse gas goals,
2 we've recently released a draft concept paper and
3 held a workshop last week on our Short Lived
4 Climate Pollutant Strategy. The strategy covers
5 methane, as well as black carbon and fluorinated
6 gases, and the plan lays out a goal for reduction
7 in methane emissions of 20 percent by 2020 and 40
8 percent by 2030. The oil and gas sector is one
9 important part of this strategy.

10 In addition, we're looking at methane
11 emissions from natural gas infrastructure as part
12 of our larger technology assessment for vehicles
13 and fuels. The emissions from the natural gas
14 infrastructure is often called "methane leakage,"
15 but that actually includes a lot more than that,
16 it's leakage, it's intentional venting, and
17 oftentimes also includes combustion. That plays
18 a role in how natural gas and electricity and
19 other things compare in terms of vehicles and
20 fuel choices. But the methane leakage is just
21 one component. The use of renewables, tailpipe
22 emissions are also big components in that
23 assessment.

24 Related, the Low Carbon Fuel Standard
25 calculates lifecycle carbon intensities for all

1 fuels, including conventional and renewable
2 natural gas. Methane leakage is a component of
3 that assessment.

4 And I want to also mention that the
5 Governor's goal for cleaner home heating fuels
6 and reducing methane emissions from the natural
7 gas sector is one potential mitigation measure
8 that would reduce greenhouse gas emissions from
9 that sector.

10 To put the emissions in context, I'm
11 showing the results of our Draft 2013 California
12 Inventory. As you can see, natural gas and oil
13 make up 15 percent of the methane emissions in
14 2013. That's from the entire sector with nine
15 percent coming from the pipeline side and six
16 percent from oil and gas production. And
17 production includes processing, as well. And
18 when I talk about pipelines, that nine percent is
19 not just the pipelines themselves, but also other
20 infrastructure such as the meter and regulating
21 stations and the compressor stations.

22 The improvement to this inventory is from
23 some work we did several years ago that was a
24 very in-depth survey of the industry in the
25 transmission distribution and production side to

1 improve our inventory on that side, so it has
2 actually increased since our last inventory.

3 And then that's the top, that's the
4 middle graph that you'll see. The bottom two,
5 which are a little bit more challenging to see, I
6 didn't realize they would come out that small,
7 but that compares methane in general to the other
8 gases, so if you use the 100-year global warming
9 potential, the methane emissions are about eight
10 percent of total greenhouse gas emissions.

11 Given the short-lived nature of the
12 emissions, looking at the 20-year global warming
13 potential is also interesting. This is shown in
14 the pie chart that's labeled 2013-B and those
15 methane emissions rise to 17 percent of the
16 greenhouse gas emissions when you look at it that
17 way.

18 CHAIRMAN WEISENMILLER: So is that by
19 weight, by molecule? What's your metric?

20 MS. SCHEEHLE: That's the total, so it's
21 million metric tons of CO₂E is what we're looking
22 at, and it's just using for the 100-year it's 25,
23 and I believe the 20-year is 83, something around
24 there, so that's why you see the difference.

25 I also wanted to show the national

1 emissions and leakage numbers because this is
2 important, especially when we're thinking about
3 where our natural gas comes from. So one reason
4 is we get an overwhelming amount of our natural
5 gas from out of state, and we get a majority of
6 our oil from out of state, as well. The gas is
7 often found along with oil, and so that's why
8 I've included the petroleum numbers here, as
9 well, because a lot of the associated gas, what
10 they call associated gas, is actually accounted
11 for in that pie chart.

12 And there are many ways to apportion
13 those emissions. These are the U.S. EPA numbers
14 from their most recent inventory. And, like I
15 said, they apportion the associated gas and
16 petroleum.

17 The leakage estimates are determined by
18 taking these U.S. EPA numbers, generally, or
19 other numbers, other emissions numbers, and
20 dividing by some sort of metric, often through-
21 put. When we've looked at the studies that are
22 out there, a recent meta-analysis from last year
23 and other studies, generally the leakage rates
24 fall between one and three percent, but there are
25 some outliers for that.

1 In the Low Carbon Fuel Standard, we've
2 used an estimate of 1.15 and this value is used
3 in a key model that, as it says there, is the
4 GREET model and it's based on the U.S. EPA
5 numbers adjusted for combustion, which is found
6 elsewhere in the model, and discounted for
7 distribution since the fueling stations are
8 oftentimes a little bit more upstream of the
9 system.

10 One thing that is of note is that this
11 leakage number is of great interest right now.
12 There's a lot of studies going on, recently
13 completed, and reconciling the top down, the
14 atmospheric studies that we've talked about some,
15 and the Bottom-up more equipment-based studies
16 that have been coming out, they will be important
17 in the coming years and we're going to be closely
18 following those studies and incorporating them
19 where appropriate in our analysis.

20 So now that I've covered what the
21 emissions are, I wanted to touch on what could be
22 done to reduce those emissions. This is not an
23 ARB chart, this is more just illustrative, it
24 comes from an ICF Report, but it's just more
25 illustrative of what can be done, that there are

1 cost-effective measures out there for the natural
2 gas sector. And this shows the green are the
3 ones that are cost savings, and the width is how
4 much you can get from that. So I just wanted to
5 show that there are cost-savings measures out
6 there and we are actually in some ongoing
7 rulemakings that I'll talk about next, that look
8 at both how much it costs and what some of the
9 savings and how much you can reduce from various
10 options.

11 So to move into what we're actually doing
12 right now, we're covering sort of the whole
13 sector. I put the scheme of the infrastructure
14 on the right. And first, we're in the middle of
15 a rulemaking right now on the production
16 processing and storage sector and that actually
17 also includes the compressor stations along
18 transmission lines because they include a lot of
19 the same components when you're talking about
20 obviously the compressors themselves and other
21 things like pneumatics and tanks that may be
22 there, as well. So that includes that first
23 part, the production processing, and a little bit
24 of the natural gas transmission storage for the
25 storage and the compressor station portion of it.

1 We have a draft proposal and that
2 includes mitigation for compressors, pneumatic
3 devices, storage tanks, recirculation tanks
4 related to well stimulation, and leak detection
5 and repair, as well as the reporting component on
6 liquids unloading.

7 And I wanted to mention leak detection
8 and repair and get to your earlier question,
9 Chair Weisenmiller, about super-emitters, and
10 this is one place where we think that fat tail
11 and having a leak detection repair program is
12 very important in order to address some of those
13 and get to some of those super-emitter fat tail
14 issues.

15 We're also working closely, and I know
16 Chuck will be talking about this in a minute, so
17 I'll just touch on we're working with the CPUC on
18 a measure on transmission distribution pipelines,
19 as well. We're just getting in the data from the
20 utilities and we'll be working with the PUC on
21 mitigation options.

22 Between these two Regulations, the State
23 is addressing emissions from the various
24 infrastructure sectors, but we do think National
25 actions are important since we get the majority

1 of our oil and gas from out of state.

2 As this map shows, actually taken from a
3 CEC document, only approximately 10 percent of
4 our natural gas comes from within the state. We
5 get the rest from a variety of mid and western
6 states and Canadian production fields. The
7 practices in emissions from outside of California
8 are also important to reducing emissions related
9 to the gas that we use within the state.

10 CHAIRMAN WEISENMILLER: Actually, I meant
11 to ask you, and that's a great chart for the
12 question, so flipping back, do we have a sense of
13 the variation in emissions across from, say,
14 Permian to Alberta? Obviously some of the, well,
15 our relationship with Texas and Canada go back to
16 the '50s, you know, and it was more in the '90s
17 that we started bringing in lots of Rocky
18 Mountain Basin gas, certainly California
19 production was from the '30s. So, again, the
20 sort of technologies are different. Do we have a
21 sense of which of these are the most problematic
22 sources?

23 MS. SCHEEHLE: I think we're getting into
24 right now the differences between those basins,
25 and it's a little challenging because there's a

1 lot of studies, and so you have to dig through
2 all of those different studies and see what the
3 actual differences are. If you look at the EPA
4 methodology, there's some variation they have,
5 some very large regional distinctions, but their
6 regions are fairly large. But there are some
7 differences between what you'll see in Texas
8 than, say, California which is a lot of what it
9 is in the Western Region. But that's something
10 that we're going to be looking into as we go
11 forward in the process and try and refine our
12 estimation.

13 So I also just wanted to touch on some
14 general thoughts as ARB has started to look into
15 methane emissions and what's often called
16 "methane leakage." As I mentioned, it's really
17 the emissions to the atmosphere that we consider
18 important. Leakage is one way to look at this,
19 it's not a perfect way, it's just one measure
20 related to the through-put of the system. And
21 the emissions and the opportunity to reduce these
22 emissions is what we feel are the important part.
23 But if you look at leakage and you use that as a
24 metric, it's important that you compare apples to
25 apples because there's a lot of different ways to

1 look at that. What you include, what you use for
2 through-put, and different things like that,
3 there are also multiple ways to apportion the
4 emissions. As you mentioned, super-emitters have
5 been noted a lot more in recent studies and
6 that's something we feel is important. It's the
7 term that's used for a small number of sources
8 accounting for a large percentage of the
9 emissions.

10 Recent studies in oil and gas sector, and
11 actually other sectors, as well, have found this
12 fat tail to be an issue and we consider that this
13 is important to consider how to find these
14 sources to reduce the leakage, and that's one
15 reason we're looking at the leak detection and
16 repair programs through our regulatory process.

17 Studies are ongoing using top down, the
18 atmospheric measurements, and Bottom-up methods.
19 As I mentioned, a recent meta-analysis was done
20 last year that concludes that the EPA number is
21 under-estimated, but some studies that have been
22 completed since then have varied results
23 suggesting that certain sources are actually
24 over-estimated. And there are also additional
25 studies underway including an ARB study where

1 we're looking at pipeline leakage. So given the
2 discrepancies and evolving data, a really deep
3 dive into this is necessary over the coming
4 years.

5 And I wanted to touch really quickly on
6 some of the research that we're doing, we have a
7 lot of research ongoing. For oil and gas sector
8 specifically, I mentioned an in-depth survey we
9 conducted a few years ago that includes equipment
10 and practices in California. We're currently in
11 the middle of a few contracts, one is focused on
12 above and below ground measurements of
13 distribution pipeline leaks with measurements
14 throughout the state, both in Southern and
15 Northern California.

16 We're also finishing up two contracts on
17 the production side. One is comparing leak
18 detection repair equipment with resulting
19 comparison of emission estimates, and then
20 another is looking at well stimulation events.

21 The agency has several research programs
22 that look at methane emissions as a whole. We
23 have a network of towers throughout the state
24 equipped with methane detectors, and that's the
25 map over on the left-hand side that shows both

1 our towers and other stations that are out there,
2 and other stations where we're working with LBNL,
3 as well.

4 In addition, we have middle monitoring
5 platforms that look at -- that enable sort of the
6 source level estimations. They have trace
7 release methods, flux chamber methods, so we have
8 a lot of research ongoing.

9 We also work with other entities on
10 projects. Those include things like Mega-Cities
11 project and recent flyover campaigns in the
12 Central Valley of California. And that work
13 included flights over large oil and gas fields
14 and the results from that will be hopefully
15 available later this year. These campaigns
16 provide information helpful to informing our
17 overall understanding and may help identify
18 future areas for study or action.

19 So just to finish up, ARB is addressing
20 methane emissions from the oil and gas sector as
21 a whole. We plan to go to the Board for the
22 production processing and storage sector later
23 this year. And we're working closely with the
24 PUC on the transmission and distribution side.

25 We will continue the public process on

1 lifecycle methane emissions from oil and gas with
2 additional opportunities for stakeholder input.
3 We will also encourage national level action on
4 methane such as those outlined in the current
5 Administration's goal to reduce emissions from
6 the oil and gas sector by 40 percent.

7 This is an important sector for reaching
8 both our short and long term goals on greenhouse
9 gas emissions and we will continue to look at
10 this closely. So thank you.

11 CHAIRMAN WEISENMILLER: Thank you. Do
12 you have a sense of the relative emissions from
13 what I'll say conventional gas production versus,
14 say, coal seam versus fracking?

15 MS. SCHEEHLE: That's a good question.
16 Hydraulic fracturing and different types of oil
17 stimulation, it depends on where it occurs if the
18 emissions are higher or not, and a lot of it
19 depends on what sort of infrastructure they have
20 in place, so in areas where it's newer, there
21 tends to be more emissions because they don't
22 have as much infrastructure to deal with the gas
23 that's coming out. But it's variable.

24 CHAIRMAN WEISENMILLER: Okay. And I
25 would just note, one of the more controversial

1 items in the first Brown Administration was the
2 notion for California to have its own satellite
3 for remote sensing. Obviously we didn't succeed.

4 MS. SCHEEHLE: No, but hopefully, I mean,
5 through all of the work that we're doing with
6 some of the plane measurements and the towers, I
7 think we're getting a better sense of what's
8 going on.

9 CHAIRMAN WEISENMILLER: That's good. In
10 terms of what would you say is the major focus
11 for trying to reduce uncertainty, you know, to
12 narrow the uncertainties here? What should we
13 do?

14 MS. SCHEEHLE: That's a good question. I
15 think it's just a combination of continuing what
16 we have. I think part of the difficulty is
17 there's a lot of different sources and, I mean,
18 we're getting into the residential sector which
19 we're just learning about what's happening after
20 that. So I'm not sure if we've identified this
21 is the best way to go to figure out what the
22 uncertainty is, but the combination of using the
23 Bottom-up and the top down, because they both
24 have their different uncertainties, you take the
25 Top-down and you have to figure out how to take

1 concentrations and apportion them to a source
2 which can be highly uncertain; with Bottom-up
3 estimates obviously you're taking every single
4 piece of equipment and there could be some of
5 these super-emitters and how to deal with that,
6 so I think it's taking those and being able to
7 work together with them and find out why there
8 may be any discrepancies and resolve those.

9 CHAIRMAN WEISENMILLER: That's great. I
10 think part of it is, and obviously we'll ask for
11 written comments eventually, and certainly one of
12 the areas I'd like people in their comments to
13 think about is what are the key areas, key
14 uncertainties, and what we should be doing to
15 sort of narrow those uncertainties and,
16 obviously, mitigate things. Okay, thanks.

17 MR. RHYNE: Okay, thank you. Our next
18 presenter comes from the California Public
19 Utilities Commission. Chuck Magee is a Senior
20 Utilities Engineer with the California Public
21 Utilities Commission. He has worked at the CPUC
22 for over 14 years. Mr. McGee was one of the
23 first members of the PUC Risk Assessment Unit,
24 which was created in October of 2011 after the
25 San Bruno explosion. Since that time, he has

1 worked on projects to identify gas system hazards
2 and evaluate utility risk assessment programs.
3 Chuck?

4 MR. MAGEE: Good morning. I'm here today
5 to discuss SB 1371 which is the Natural Gas
6 Leakage Abatement Bill that was approved by the
7 Governor on September 21st of 2014.

8 It applies to CPUC regulated intrastate
9 transmission, distribution and storage
10 facilities. It requires the CPUC to "minimize"
11 leaks as a hazard to be mitigated" and to reduce
12 emissions of natural gas "to the maximum extent
13 possible" to advance goals of greenhouse gas
14 emissions. I was doing a little fact checking
15 last night and the actual word is "feasible", not
16 "possible" as it is stated there.

17 It directs the CPUC to "establish and
18 require the use of best practices for leak
19 surveys, patrols, leak survey technology, leak
20 prevention, and leak reduction. Again, the word
21 "detection" is incorrect according to the bill,
22 it's leak "reduction."

23 It requires gas corporations to file
24 reports about natural gas leaks and leak

1 management practices and "estimates of gas lost
2 due to leaks."

3 It required a baseline report which we
4 determined the due date for that in our
5 proceeding, we determined would be May 15th of
6 this year and those reports were filed.

7 And it requires an annual update. And so
8 every May 15th in the coming years, the utilities
9 will be filing updates on incremental changes to
10 the gas leak reduction programs.

11 And the bill requires us to confer with
12 the California Air Resources Board and open a
13 proceeding to adopt rules by January 15th, 2015,
14 which we did. And that's Rulemaking 15-01-008.

15 The bill also requires us to identify
16 best practices and so as a result we wrote a
17 report called "Survey of Natural Gas Leakage
18 Abatement - Best Practices" report and it was
19 issued for comment on March 18th, 2015. In the
20 bill, we mention that Methane emissions are
21 described as a potent greenhouse gas with impacts
22 greater than 20 times carbon dioxide, and that
23 number is probably a minimum number depending
24 upon which research paper you read, you see
25 numbers higher than that.

1 We also identified the major sources of
2 leaks. Much of the report was based on two other
3 reports that we found, one was from ICF
4 International which was issued in March 2014, and
5 the other report is the U.S. EPA Natural Gas STAR
6 program, which identifies a lot of best practices
7 and also lists payback times for modifying
8 equipment or doing capital improvements. So that
9 was a big help.

10 We proposed in the report that, for
11 purposes of SB 1371 greenhouse gas reductions,
12 all leaks should be considered hazardous to
13 people, property, or the environment. Up to now,
14 leaks have been considered hazardous based on
15 dangers to people and property, so adding the
16 environment to it is a new change in the
17 definition.

18 And it recommends that the best practice
19 would be to repair all leaks immediately as they
20 are found, but we recognize that might not be
21 practical or cost-effective. For small
22 utilities, they frequently do that, repair leaks
23 as they are found, but the large utilities have
24 such a large customer area that it may not be
25 practical to do that.

1 Other best practices were compiled on the
2 Report Appendix spreadsheet. I'd like to mention
3 that the report itself is a summary of what I
4 found when I reviewed all these best practices
5 and reviewed the ICF Report and the Gas STAR
6 Program. The actual bulk of the work, though,
7 can be found in the Appendix spreadsheet where we
8 identified as many best practices as possible
9 from Europe, Canada, and North America.

10 So to identify best practices for people
11 who are looking for tips on best practices, I
12 would suggest going to the spreadsheet shown in
13 the Appendix; there's a lot of links there to the
14 Web, manufacturers, cutting edge technology, and
15 I think it's a good resource to try to identify
16 new best practices or best practices you might
17 not have thought of before.

18 The CPUC held a workshop on April 6th and
19 in that workshop, the participants reviewed the
20 staff report on best practices for methane leak
21 abatement. The Air Resources Board provided an
22 update on their proceedings, as Elizabeth just
23 mentioned. We had an open discussion of policy
24 aspects, we discussed what the definition of
25 leaks should be. Currently, the definition of

1 leaks is a safety-related definition. And we
2 also discussed how cost-effective feasible best
3 practices, how those can be balanced.

4 There were presentations on technologies
5 and tools for improved leak surveys and
6 mitigation and we'll hear more about that this
7 afternoon.

8 And there was interest and initiative to
9 form a Technologies/Tools Working Group. And at
10 the end of the workshop people were already
11 getting together to discuss that.

12 Specific policy issues discussed in the
13 workshop, we discussed the intent of SB 1371.
14 Some parties questioned whether it's applicable
15 to operation and maintenance emissions, does it
16 apply to all emissions and leaks or were there
17 any exceptions or exemptions? And I didn't see
18 any exemptions in the bill, but there was some
19 disagreement about that.

20 We discussed new methane emission limits
21 and those are not clear yet, we're working with
22 ARB on how to actually decide what methane
23 emissions or limits should be, if any.

24 And we discussed the new leak rating
25 system. Currently the leak rating system goes

1 Grade 1, 2 and 3, with Grade 1 being the
2 immediate dangers to people and property, which
3 have to be addressed right away, permanently
4 repaired, I believe it's within 15 months, but
5 they have to be stopped right away.

6 And then there's Grade 2 and Grade 3.
7 Grade 3 are considered not hazardous to persons
8 and property and up until now they've been
9 allowed to leak indefinitely, provided they were
10 monitored to make sure they weren't getting
11 worse. But in rural areas where it's no danger
12 to people or property, they were allowed to just
13 leak. And that might be where we find some of
14 the super-emitters that we've been talking about
15 today.

16 Specific technical issues discussed in
17 the workshop, we discussed the technologies to
18 find leaks, there's a lot of cutting edge R&D
19 instruments and technology out there, more coming
20 on all the time, technologies to quantify the
21 amount of methane leaked from individual leaks.
22 Underground leaks especially are problematic
23 since the gas can migrate and you've got to trap
24 it all to know how much is actually being emitted
25 from underground. And we also discussed

1 technologies to quantify system leak rates.

2 Some of the issues for the Commission to
3 consider now: Whether to revise the definition of
4 gas "leak;" how to balance "technologically
5 feasible, cost effective, and use best
6 practices;" whether specific best practices
7 should be required; whether to revise the leak
8 rating system; what target emissions level should
9 be required; what leak repair time limits should
10 be required; whether to revise General Order 112
11 which currently addresses safety issues only, so
12 the question is whether we should revise that to
13 also include best practices or limits for
14 purposes of protecting the environment.

15 And also, we are looking at what training
16 programs, what workforce levels, capital
17 improvement programs, and potential incentives
18 are needed for gas corporations to reduce leaks.

19 The next steps: the first step was
20 completed on May 15th, we received the reports,
21 the required Methane Leak and Emissions Reports,
22 from the respondents; Methane Leak and Emissions
23 Reports now have to be analyzed by the CPUC and
24 the ARB, and the completion date of that is to be
25 determined since we only got them about a week

1 ago, or two weeks ago. And the reports go to
2 both the CPUC and ARB.

3 And so the next step is on June 8th,
4 2015, there is a prehearing conference to set the
5 scope of the proceeding and the tentative
6 schedule.

7 And my name and contact information are
8 on the last slide if you have any questions,
9 would like to contact me, or my supervisor,
10 Arthur O'Donnell, and his contact information is
11 there also. Thank you.

12 CHAIRMAN WEISENMILLER: Great. A few
13 follow-up questions. One of them is just trying
14 to understand. So you've got this proceeding, it
15 was set in place, the framework. Now my guess is
16 that basically in the future general rate cases
17 will be the forum where, I guess has been the
18 case in the past, so I assume going forward,
19 where the Commission has to come to grips with
20 what's the cost and what are the benefits, you
21 know, like in the last PG&E General Rate case it
22 was a big issue of what should be the frequency
23 of basically the surveys, you know, for leak
24 detection. Is it sort of a three-year, five-
25 year, two-year, you know, and the shorter times

1 require more money. And so somehow the
2 Commission had to come to grips with that, and I
3 think one of the PG&E proposals was that for
4 sensitive infrastructure you might do a more
5 frequently than general. So if you're in areas
6 of hospitals or stadiums, or something, you might
7 do the leak detections on an annual basis instead
8 of an every three-year basis. I forgot how that
9 played out, but typically in General Rate cases
10 PG&E asks for a certain amount of money to do it
11 a certain frequency, most Interveners wanted to
12 give them less money which meant lower frequency.
13 So, I mean, how do you go from this generic
14 proceeding to the real issue on dollars and
15 cents, and what's the tradeoff in going forward
16 for the PUC?

17 MR. MAGEE: That's a good question, it's
18 going to take time to sort it all out. The
19 proceeding is going to be -- we try to complete
20 our proceedings 18 months from the prehearing
21 conference. Our Energy Division is going to be
22 involved with us trying to figure out the answers
23 to those questions. I do know that, I guess it's
24 pretty obvious, that the more leak surveys you do
25 the greater percentage of leaks you find and that

1 actual figure was, I believe it was in the ICF
2 Report, the State of Colorado had actual figures
3 for how much gas reduction you could find with
4 varying frequencies of leak detection surveys.
5 So, yeah, that's something that will have to be
6 sorted out.

7 CHAIRMAN WEISENMILLER: And the other
8 question was, there is some of the plastic pipe
9 which is defective; what's the current policy in
10 terms of how quickly to replace that? And is
11 that related to leakage or not?

12 MR. MAGEE: The exact relation to
13 leakage, I think it's been more of a safety issue
14 than anything else. The utilities are working on
15 replacing aldy1-A pipe, there's a few other types
16 of pipe and fittings that need to be replaced and
17 it's an ongoing process. Some of the difficulty,
18 I believe, is knowing where all of it is located
19 exactly. And so one of our team members, Steve
20 Haine, did an aldy1-A report that discussed some
21 of those issues, but exact relationship of
22 plastic pipe to methane leaks as far as the
23 environment is concerned, I don't know the
24 relationship of that. From just a cursory review
25 of some of the numbers that we've gotten back

1 from the utilities, I'd say the biggest amount of
2 methane leaking are from these Grade 3 leaks,
3 whatever material they are. And we haven't been
4 able to -- in the short time since we got the
5 report, we haven't been able to come up with any
6 statistics as far as what materials are leaking
7 the most. We did get the materials in the
8 reports, now it's a matter of sorting through it.
9 But I'd say most of the methane leaks from
10 pipelines, that Grade 3 variety which may be out
11 in rural areas and that we have to go after those
12 first.

13 CHAIRMAN WEISENMILLER: Well, certainly
14 looking at Line 300 and 400, I mean, they're very
15 old pipe, I guess the oldest pipe in California
16 is probably Stan-Pac. And certainly 400, when 401
17 was put in, there were some degree of upgrades
18 associated with that and there was sort of an
19 emergency effort on Stan-Pac to deal with leakage
20 from that. But 300 is very very old pipe. I
21 remember even in the '80s there was speculation
22 that unless there was lots of investment in it,
23 that there would be issues there. But again, I
24 think the issue that's going to be important is
25 obviously the Commission has in place sort of a

1 safety policy now and sort of going forward,
2 again, having a general policy but then trying to
3 frame the issues in a rate case so those people
4 try to do the tradeoff between cost and benefits
5 from a risk assessment, it's done as
6 scientifically as possible. You know, what can
7 we do to minimize, for the most bucks, flipside,
8 I mean, going back to your prior chart on cost-
9 effectiveness, what's are the most cost-effective
10 things we can do to reduce emissions on our
11 systems, which could be locations or types of
12 stuff, and how to do that quickly where there are
13 safety issues.

14 MR. MAGEE: Yeah. For emissions
15 purposes, I think that emissions and safety are
16 really two different issues.

17 CHAIRMAN WEISENMILLER: Okay.

18 MR. MAGEE: From what I see, we may be
19 able to make a lot of progress when we start
20 looking through those reports and, as I said, I
21 saw a lot of what appeared to be large emitting
22 Grade 3 leaks which obviously aren't safety-
23 related, but if we can clean those up that would
24 probably be the biggest bang for the buck in the
25 beginning. So I would anticipate -- at this

1 point, again, we've only had the data for two
2 weeks, but I would anticipate that we could cut
3 down on a large amount of methane emissions in
4 the beginning and then gradually taper off as the
5 smaller leaks we figure out what to do with.

6 CHAIRMAN WEISENMILLER: Okay. And last
7 question is just part of Mike Gravely's
8 presentation was to go through some of the
9 research in the areas of safety in terms of new
10 technologies, so certainly that would be an area
11 of PUC feedback on the research we've done so far
12 and also the criteria for any subsequent
13 research, the sorts of new technology that would,
14 again, provide the most benefit would be useful.

15 MR. MAGEE: Yeah, again, there's a lot of
16 new technology coming on and the people this
17 afternoon can tell you probably more about it
18 because they work with it all the time. I just
19 looked at one the other day that PG&E is using,
20 laser cameras that can do detailed 3D maps of
21 pipe surfaces, or anything else you want to take
22 a 3D image of, and use it to analyze the
23 anomalies in the pipe walls. And there's smart
24 pigs, again, there's a lot on that Appendix
25 spreadsheet that was in the report, all times of

1 inline tools that can go through and detect small
2 leaks, so there's a tremendous amount of
3 technology out there and more coming.

4 CHAIRMAN WEISENMILLER: Great, thank you.

5 MR. RHYNE: All right, thank you. Our
6 last presenter comes from the Department of Oil,
7 Gas and Geothermal Resources. Dr. Steve Bohlen
8 was appointed by Governor Brown on June 2nd of
9 2014 as State Oil and Gas Supervisor and head of
10 the Division of Oil, Gas and Geothermal
11 Resources.

12 Dr. Bohlen has devoted much of his career
13 using scientific evidence to inform policy
14 development and multiple levels of Federal and
15 State Government. Prior to joining DOGGR, Bohlen
16 served science and society as a prominent
17 researcher, professor and senior manager of
18 national and international research programs in
19 the geosciences.

20 Most recently, Dr. Bohlen was the Program
21 Director for Nuclear and Domestic Security from
22 2013 to 2014, and previously the Deputy Program
23 Director for Energy Security from 2011 to 2013 at
24 Lawrence Livermore National Laboratory. Dr.
25 Bohlen?

1 DR. BOHLEN: Thank you very much. Good
2 morning. I was asked to give some perspective as
3 to what actually is going on in the state with
4 regard to production of oil and natural gas and
5 to talk a little bit about what might happen with
6 respect to well stimulation in the state and how
7 it may be reflected in the issue at hand.

8 I will say at the outset that I learned
9 long ago that Yogi Berra had it right, that
10 predictions are difficult, especially about the
11 future.

12 Just a quick reminder, I'll provide some
13 context as to how California plays in the larger
14 energy market and then talk specifically about
15 some issues around methane leaking and the
16 industry itself.

17 California is the third largest producer
18 of oil in the country. We just nose out Alaska
19 essentially as Trudeau Bay starts to take over
20 really as a gas producer rather than an oil
21 producer. This slide shows, it's hard to read
22 but the largest oil producer in the country is
23 Texas, you can see the sharp upturn in the red
24 line over the last 15 years, and then farther
25 down you can see the other upturn line is North

1 Dakota. Those are both a result of well
2 stimulation technologies that's really changed
3 the energy picture in the country.

4 California is the third line down, the
5 purplish line, and you'll see that there's no
6 increase as of yet as a result of well
7 stimulation technologies in oil production.

8 California was the Saudi Arabia of the
9 world during the '20s, '30s and '40s; obviously
10 since the late '80s the production in the state
11 has been declining monotonically and it's not
12 clear where the production will go given the
13 advances in technology. You can see that the
14 state had a rather different view of its
15 environmental interest in the late '20s, that's a
16 view on the left of downtown Los Angeles, and on
17 the right is South Belridge, probably one of the
18 most densely drilled oil fields in the world.

19 The gas in California is actually
20 produced from oil, as Elizabeth has already
21 talked about. The northern part of the state has
22 gas fields, those are all the red dots, but those
23 geologic formations have to do with gravel that
24 has accumulated in river meanders and so the
25 deposits of dry gas in the northern part of the

1 state are relatively small in comparison with the
2 larger amounts of gas that are produced along
3 with oil in the large oil fields in the southern
4 part of the state.

5 So as Elizabeth has already mentioned,
6 California is very much an also ran in terms of
7 its production of natural gas. California is the
8 red line at the bottom of the graph and you can
9 see there's a number of other states including
10 Alaska, Arkansas and so forth, Louisiana and so
11 forth, that are well ahead of the state, hence we
12 only produce about 10 percent of the gas that we
13 use.

14 A chunk of our gas, though, actually goes
15 to create steam for steaming of the heavy oils
16 that make up some of the California oil supply.
17 It's important to note that California is a big
18 energy user, we import twice the amount of oil we
19 produce on a per day basis and 95 percent of that
20 goes for transportation fuel. So changing
21 people's driving habits which the Governor says
22 is never going to happen, or electrifying the
23 transportation sector is really important.

24 All roads it seems lead to hydraulic well
25 stimulation and fracking these days, including

1 every earthquake in the state; the first question
2 I get is "was it caused by hydraulic fracturing?"
3 And fortunately in a previous part of my career I
4 worked for and led science at the U.S. Geological
5 Survey, so I look up on the website to look for
6 the moment tensor and the depth of the
7 earthquakes and I can answer that question very
8 quickly.

9 So fortunately we have Senate Bill 4,
10 which now requires that we have a great deal of
11 information reported to the state on well
12 stimulation activities. The upper set of numbers
13 talks about the notices that we have received.
14 Essentially since data started to be required to
15 be reported to the state January 1st of 2014,
16 we've received a little over 1,200 well
17 stimulation notices. Most of the well
18 stimulation in the state goes on in one county,
19 Kern County, and that's about 99.5 percent or
20 99.6 percent of the well stimulation activity and
21 most well stimulation activity is related to the
22 production of a certain kind of formation,
23 diatomite, which is a formation -- it's the old
24 remains of an ocean in the inner parts of the
25 state filled with diatoms and the formations have

1 a large amount of porosity, but very little
2 permeability, so actually getting the pores to
3 connect is critical. And that's for oil
4 production and not for gas production.

5 So hydraulic fracturing is a steady
6 component of the oil production activity in the
7 state and it's all going on at the moment really
8 in just a few oil fields on the west side of Kern
9 County. And this map shows you just what I said,
10 so let's move on.

11 I will take a mention about how much
12 water is used. Well stimulation in the State of
13 California is quite different from the well
14 stimulation that you've read about in North
15 Dakota or the Eagle Ford formation in Texas, or
16 the Marcellus Shale. Last year the state used
17 about 300 acre feet of water for all the well
18 stimulations; that compares with 14 million acre
19 feet of water that were drawn from aquifers
20 during the course of the year for all beneficial
21 uses. So we do not use a large amount of water.
22 That's just an aside because that's usually the
23 first question that everybody asks me.

24 So what could happen though? The issue
25 around well stimulation as we know has been game

1 changer in Pennsylvania that's moved to be the
2 third largest producer of natural gas in the
3 country, and obviously in terms of oil production
4 in Texas and North Dakota. And the real question
5 around where does California go in terms of oil
6 and, to a lesser degree, gas, is around the
7 Monterey formation which you can see in green.
8 It's going to be an oil producer, it's not going
9 to be a gas producer like the Marcellus Shale,
10 and there's a large number of reasons why this
11 formation is not already a producer of oil.
12 Unlike the formations, the Bakken formation in
13 North Dakota, the Marcellus in Pennsylvania, you
14 can drill a horizontal lateral in those
15 formations two miles out and still be within a
16 few meters of elevation change. That's not true
17 in California. The other problem is that in
18 California there are chert layers, also the
19 remnants of diatoms that have been compressed
20 from the inland sea, and it turns out that when
21 you try to fracture formation containing layers
22 of chert, that chert as a rock is very fracture
23 tough, and so what it actually does is it causes
24 the fractures that are propagating into the chert
25 to deflect along to the surface to the chert. So

1 actually creating a fracture network which is
2 appropriate for the derivation of hydrocarbons
3 out of this formation has not yet been solved.
4 Companies are trying, though, and we see evidence
5 that wells are being drilled and stimulated that
6 are starting to have longer laterals. So where
7 the state goes in terms of its oil production,
8 much less than its gas production, is unclear.

9 So the upper left figure is a figure
10 that, as a geologist -- I'm a Geochemist -- it
11 shows methane in cores taken from Antarctica and
12 glaciers around the world. And what it shows is
13 really the impact of human activity since the
14 industrial revolution with respect to methane.
15 Getting the natural methane flux is very very
16 difficult. For nine years I ran the global
17 effort in scientific ocean drilling and the drill
18 ship would report that, no matter where they
19 were, seeing bubbles of various magnitude come
20 up. In fact, methane released from the oceans is
21 actually a ship hazard. Often you read about a
22 ship that disappears without ever a distress
23 signal or anything, and most likely it's an
24 eruption of a large bubble of gas that causes the
25 loss of buoyancy of the ship, and it just sinks

1 out of sight in a matter of seconds.

2 But you see that up until about the late
3 1800's the methane that's recorded in gas bubbles
4 in Arctic ice and Greenland ice held steady
5 between 600 and 800 ppb. And then since the
6 Industrial Revolution, it has about doubled and
7 so it's a very serious issue that we have to pay
8 attention. Elizabeth has already gone through
9 the different sectors in which this occurs, the
10 lower left shows agriculture, energy is that rust
11 colored sector on the lower left that's in the
12 range of 25 percent.

13 So in looking in detail, there's already
14 been discussion of the challenges around Top-down
15 and Bottom-up assessments. There are starting to
16 be many more Bottom-up assessments where we look
17 at the various details of what goes on in the oil
18 fields, how wells are completed, how the
19 hydrocarbons are accumulated, pumped through
20 pipes, compressed, etc., and the challenge of
21 course comes in trying to compare that with the
22 Top-down where you look at a broader area. And
23 then the role of super-emitters which has already
24 been referenced where it could be that a very
25 large percentage of the leakage comes from a very

1 small number of sources. So it's a complicated
2 problem.

3 But if we look in the oil sector itself,
4 where's the place where we might actually put a
5 lot of energy into -- where's the bang for the
6 buck? And you can see in the purple -- it's
7 around what the industry calls now "green
8 completions," and then how we actually lift and
9 compress the hydrocarbons out of the wells
10 themselves. And so it appears as though about 40
11 percent of the emission problem, if we want to
12 call it a problem, and I think it is a problem in
13 the oil and gas industry itself, what goes on
14 amongst the drilling and pumping and moving
15 around of hydrocarbons, is really in how we
16 complete the wells, and then what we do with the
17 hydrocarbons as we get them out of the well and
18 put them into a pipeline. And that's roughly 40
19 percent of the problem.

20 The other parts of the problem probably
21 have lesser amounts of bang for the buck.
22 Certainly our compressors, how we compress gas
23 and keep it moving in pipelines, it starts of
24 course in the oil field where it's compressed
25 initially, but continues, is probably another

1 area of a big bang for the buck, as well.

2 So there's a lot of work still to do to
3 understand the system and what happens in
4 California. In my view, California is going to
5 undergo very rapid change in its oil and gas
6 sector and that has to do with a lot of issues
7 having to do with aquifer exemptions and, you
8 know, the state produces 15 barrels of water for
9 every barrel of oil that it produces, and so what
10 happens with that produced water, where it goes,
11 what it's used for? We're on the leading edge, I
12 think, of a major change. And it may be that
13 these changes can take place as we modernize the
14 oil and gas industry in the state and deal with a
15 lot of these methane leakages along the way.

16 So I hope that gives you a broader
17 context of the oil and gas industry and I'm happy
18 to answer any questions. Thank you.

19 CHAIRMAN WEISENMILLER: Yeah, thanks for
20 your participation today. I guess my first one,
21 thinking back to your slide that showed Belridge
22 and LA, you know, decades ago, so how many
23 existing wells do we have in the state?

24 DR. BOHLEN: We have about 70,000 active
25 oil and gas producing wells in the state.

1 CHAIRMAN WEISENMILLER: How many inactive
2 ones?

3 DR. BOHLEN: That's a good question. The
4 ones we know about, we've got about 20,000 idle
5 wells and we've got another somewhat unknown
6 number of abandoned wells. One of the challenges
7 is that we've paved over a lot of our giant oil
8 fields. LA had Saudi Arabia class oil fields for
9 a long time. But we're looking at tens of
10 thousands to hundreds of thousands of plugged and
11 abandoned wells.

12 CHAIRMAN WEISENMILLER: Yeah, so I mean
13 the first question is, you know, that, and the
14 second obvious question is sort of worrying about
15 emissions, how much of it is sort of active
16 versus the unknown stuff.

17 DR. BOHLEN: That's right. And that's a
18 really big issue, you know, because the state has
19 had such a long history and well technology has
20 changed from when we tried to line things with
21 Redwood or didn't encase them at all, to today.
22 And then how the state hasn't really tracked that
23 leads to a big unknown. And it may be where your
24 Top-down analyses are actually very important
25 because they may pinpoint areas where you may be

1 able to sort out what are these abandoned wells,
2 and what kind of shape are they in, and what are
3 they doing with respect to this issue. But it's
4 an unknown area right now.

5 CHAIRMAN WEISENMILLER: And do you have
6 regulations that sort of specify what happens
7 when people complete the wells?

8 DR. BOHLEN: We do, yeah. I mean, in
9 terms of their lifecycle and so forth?

10 CHAIRMAN WEISENMILLER: Yeah.

11 DR. BOHLEN: We do. It turns out
12 California is relatively lax in its regulations
13 and we will be undertaking some regulation
14 development over the next couple of years around
15 some of these issues. We're fairly lax. For
16 example, in Texas you can't leave a well idle for
17 more than a year without making some decision
18 about it.

19 CHAIRMAN WEISENMILLER: Right.

20 DR. BOHLEN: Including plugging and
21 abandoning it. We allow wells to be idle for a
22 very long period of time. And that's not a good
23 thing for a variety of reasons, for the reason
24 we're here today, but also for the reasons of
25 managing your groundwater and making sure that

1 you are confining the well, the well is confined
2 from your groundwater system. So there's some
3 challenges.

4 CHAIRMAN WEISENMILLER: Yeah, well part
5 of it, who is responsible for the old legacy oil
6 and gas system in terms of toxicity and just sort
7 of basically cleanup?

8 DR. BOHLEN: Well, that falls under DTSC
9 and others. It depends on the jurisdiction and
10 it's a complicated issue, again. And one that
11 I'm not actually very well versed in.

12 CHAIRMAN WEISENMILLER: Yeah, no, I was
13 going to say I know the PUC has ongoing programs
14 dealing with the old gas production facilities,
15 which obviously tended to be surrounding 1890
16 urban areas, which probably means downtown San
17 Francisco now.

18 DR. BOHLEN: One of the challenges for
19 the division of oil and gas in the state is that
20 it has a dual mandate, it has a mandate to assist
21 in using all technologies to assist industry to
22 get oil and gas out of the ground, and at the
23 same time minimize the environmental footprint of
24 that activity.

25 CHAIRMAN WEISENMILLER: Right.

1 DR. BOHLEN: And if I had to characterize
2 how the division has operated in the past, it's
3 been much more focused on the former aspect of
4 its mission and much less on the latter. And I
5 would say that the change is now taking place
6 that it's going to be much more focused on the
7 latter.

8 CHAIRMAN WEISENMILLER: What sort of
9 technology development programs do you have?

10 DR. BOHLEN: We don't actually have any
11 technology development programs in the Division.
12 But we are on the lookout for advances and
13 technologies so that we're aware of how our
14 regulations may or may not apply to new
15 technologies that are deployed in California oil
16 fields.

17 CHAIRMAN WEISENMILLER: Obviously in
18 terms of our R&D programs, there are a lot more
19 dollars on the electricity side than the gas
20 side, say a factor of 4, ignoring some of the
21 advanced vehicle types of stuff, which seems like
22 a mismatch, but I'm also just trying to
23 understand obviously the oil companies have a ton
24 of money, but just in terms of how much of the
25 research dollars particularly on the things that

1 might help us deal with environmental issues.

2 DR. BOHLEN: Well, the oil and gas
3 operators tend not to spend a lot of money on
4 research anymore, they really rely on the oil
5 service companies, so Schlumberger, Halliburton,
6 Baker Hughes, Weatherford, and so forth. But I
7 view as a deficiency in the Division, actually,
8 its lack of a scientific basis and as a Division,
9 it just hasn't used science in its decision
10 making I think as effectively or as robustly as
11 it really needs to. And that's a change that
12 we're working on right now.

13 CHAIRMAN WEISENMILLER: Okay, and
14 obviously DOE has a fossil fuels office just in
15 terms of is there any connection between what
16 they're doing and what you need?

17 DR. BOHLEN: The answer to that question
18 is no, but that's something I'm working to
19 change, as well. I have a number of colleagues
20 at DOE whom I know well and starting to talk
21 about how do we generate -- this really gets back
22 to your research question, how do we start to
23 generate collaborations? There are initiatives
24 inside DOE, the Subterranean Initiative, which
25 actually had \$250 million in the President's

1 Budget this year, and they're looking for sites
2 to actually -- how do we manage the subsurface
3 for all activities, whether it's groundwater
4 withdrawal, or oil and gas activities. So I'm
5 trying to get the division kick-started into
6 thinking about these opportunities and being a
7 leader in those ways. But traditionally, again,
8 the State Division of Oil and Gas has really kind
9 of been in the background and hasn't thought of
10 itself as a science-based regulatory agency and
11 going out and making things happen, and it really
12 needs to.

13 CHAIRMAN WEISENMILLER: Yeah, I guess
14 actually the last one I was trying to figure, if
15 you look at enhanced oil production in the '70s,
16 it was pretty much taking the crude, burning it,
17 you know, and that was like 20 percent of
18 California's sulfur emissions, and then it
19 flipped to gas for cogen in the '80s, but more
20 recent production, unless it's associated with an
21 existing cogen project, you know, they have the
22 choice of looking at developing a project,
23 bidding into the utilities, going through
24 interconnection process, going through our siting
25 process, or just I assume burning crude, and

1 getting the permit from Kern County in six months
2 and starting production, and I think all of them
3 head in that latter direction. So I'm just
4 trying to understand that that's going to be an
5 emerging air issue there, or --?

6 DR. BOHLEN: That's a good question, Mr.
7 Chairman, I'm not actually -- really, it's hard
8 to say.

9 CHAIRMAN WEISENMILLER: Yeah, okay.
10 Well, certainly thanks for your participation
11 today.

12 MR. RHYNE: Okay, so before we open the
13 panel to questions from the public, I just have a
14 couple more questions. I want to pick up on some
15 themes, and then sort of get the panel's opinion
16 on one thing.

17 So first of all, this is a theme that the
18 Chairman raised earlier I think in Elizabeth's
19 presentation, but I'm going to pose the question
20 broadly to the panel and I'll ask anyone who
21 wants to weigh in to join the conversation.

22 So the question of variability and
23 uncertainty has come up repeatedly throughout the
24 day. Where would you say the largest source of
25 variability, now, that can be geographic,

1 temporal, it can be based on types of sources,
2 where would you say the largest source of
3 variability is in terms of fugitive methane
4 emissions? And then where would you also say the
5 biggest source of uncertainty is? And if you
6 don't know, you don't know, but I'm curious as to
7 what the panel as a whole thinks on those terms.

8 DR. BOHLEN: Good question!

9 MR. MAGEE: Well, one source of
10 variability is the detection technology, the
11 quantification of methane emissions. It's still,
12 I think, a developing field, there's still some
13 differences people are trying to figure out
14 between the Top-down approach and the Bottom-up
15 approach, and also quantifying the methane
16 emissions from underground leaks. And then you
17 have variability even in like system-wide leak
18 rates, you have to take in when the gas comes
19 into the system, it's at one temperature, say,
20 and humidity, and when it comes out of the system
21 through all of the various meters, you have to
22 adjust for humidity again and pressure and
23 temperature. So there are some errors in the
24 system leak rate calculations just because it's
25 difficult to determine the amount of gas coming

1 in and the amount of gas actually leaving. So
2 that's one source of uncertainty.

3 DR. BOHLEN: An area of uncertainty that
4 I think is important for us to understand and get
5 a handle on is we do know enough to know that
6 there are very large leaks that account for a
7 large proportion of the leaking that we think is
8 going on. And I think the question is, is that a
9 stochastic -- are those large leaks stochastic?
10 Or is there something systematic in the system
11 where we can anticipate that those large leaks
12 are going to occur and focus our attention then?
13 And I don't think we know that yet, but I think
14 given that there's this relatively small number
15 of large emitters, that's going to be critical to
16 sort out.

17 MS. SCHEEHLE: I'll just follow-on on
18 that. I think, I mean, you hear a lot about the
19 fat tail and the super-emitters and I think that
20 is an area among all of the sources we see and
21 some studies look at pneumatics and say that, and
22 pipelines and say that, but I think one important
23 thing to remember is that even though there's
24 uncertainty in those things, there's still ways
25 that we can address them and that we can mitigate

1 them now. I think some of the things we're
2 looking at in leak detection repair will help get
3 to that, and also will provide us information in
4 our draft proposal for the production side we're
5 requesting, reporting on that so we can
6 understand what's been found and have a better
7 understanding going forward.

8 MR. GRAVELY: So you made one comment
9 about the amount of research; obviously from the
10 perspective of the amount of research we do in
11 natural gas and the amount of research we do in
12 methane emissions, it's very small in
13 relationship to the problem. So I think, as
14 Guido mentioned earlier, we're beginning to find
15 information, but to make a correlation and be
16 able to determine how good a predictor it is,
17 there just isn't enough information out there, so
18 I think, you know, to really get the information
19 being requested and understood here today, you'd
20 need to substantially increase the level of
21 research to be able to get the information and
22 the models developed to give you credible
23 answers. I think now it's still uncertain, we
24 create as much uncertainty as we are answers, I
25 think, with the research.

1 MR. RHYNE: Thank you. And my last
2 question before I open the floor, the AB 1257
3 Report is due to the Legislature in November of
4 this year, but obviously this issue is not going
5 to go away in November of this year. And I would
6 ask the panel what research or work do you see
7 that's ongoing today in the near horizon that may
8 stretch out beyond the November timeline that
9 you're the most interested or excited about in
10 helping us understand either how best to assess
11 the fugitive methane emissions issue or, on the
12 flip side, how best to mitigate? So what are you
13 most looking forward to that you're aware of is
14 ongoing? What research, what areas of study?

15 DR. BOHLEN: I'll jump in. I think
16 merging Top-down and Bottom-up assessments is
17 essential to really understand the whole problem.
18 And that's of greatest interest to me.

19 MR. RHYNE: Is there a particular study
20 that you're thinking of when you say that?

21 DR. BOHLEN: No.

22 MR. RHYNE: Okay.

23 DR. BOHLEN: Progress in that whole area
24 is really critical.

25 MR. MAGEE: And there's also progress

1 that ARB has already completed or is in progress
2 with the utilities. Like in the report that I
3 did, the ICF Report states that compressors are
4 the largest source of methane emissions, but ARB
5 has already been working with the utilities to
6 improve and replace infrastructure surrounding
7 compressors in reducing leaks. So the national
8 picture is more of equipment-related emissions,
9 but ARB is already working with the utilities to
10 reduce that, so that in California, according to
11 the ARB, in California most of the leaks are
12 actually pipeline leaks and the utilities have
13 already been doing quite a bit of work, both
14 compressors and also with pneumatic -- switching
15 over to different pneumatic controls that don't
16 use gas to operate. You can use compressed air
17 to operate, but there are some cases where you
18 have to use natural gas. But you can reduce the
19 amount of leakage using different types of
20 equipment, or different packing. And some of it
21 is maintenance, too. I mean, some of the leaks
22 like in oil fields and places like that can be
23 due to just not maintaining the equipment and not
24 keeping the valves, the packing adjusted on the
25 different pieces of equipment. So the utilities

1 have made some improvements to the equipment in
2 the state working with ARB.

3 MS. SCHEEHLE: Yeah, I think that we do
4 have a lot ongoing in terms of what we're
5 achieving in the mitigation in the next few
6 years, both through the ARB process and working
7 with the PUC on the pipeline process. There are
8 a few things that we're looking to get more
9 information on, I think some of the information
10 that's coming out about liquids unloading and
11 what are the sources there and the mitigation
12 options there, that will be very interesting to
13 follow in the next few years. And the
14 information we'll be getting in on how effective
15 and what some of the sources are in the leak
16 detection side, and I think looking at the
17 pipeline information we're getting in from our
18 own studies, as well as outside studies, will
19 help us focus on what are the remaining big
20 sources there, and then we definitely have some
21 interest and are considering whether to fund some
22 things on abandoned wells, how big is that
23 problem, as well as some other issues.

24 MR. GRAVELY: I think in the area you
25 mentioned before in safety and natural gas, the

1 area of research being able to do non-intrusive
2 detection of leaks and being able to determine
3 whether it's infrared or whether it's radar or
4 other technologies, and trying to get the
5 capability to do broad coverage of the
6 underground pipes and their leaking, as opposed
7 to necessarily being able to do it through the
8 pigs, there's much more detail, but they also are
9 intrusive. So I think some of the research we're
10 doing is trying to look for ways to get as much
11 credible information as you can from a broader
12 area without having to do the intrusion into the
13 system, or not having to dig up the pipe, and
14 being able to do it with some type of technology
15 that gives you credible information and can
16 predict the leaks and the intrusion that they're
17 having from different people. So I think right
18 away in getting into the areas where people are
19 potentially causing problems and avoid those are
20 areas that we're focusing a lot in the future
21 now.

22 CHAIRMAN WEISENMILLER: Yeah, but isn't
23 part of that question besides location of the
24 pipelines? I mean, my impression was over the 50
25 years or so we've been doing that, that

1 unfortunately PG&E doesn't quite know exactly
2 where the pipe is in the ground, it knows
3 roughly, and the more we can pin down in a non-
4 obtrusive fashion exactly where it is, and I
5 assume at least from a safety perspective we'll
6 be much better off.

7 MR. MAGEE: Well, the utilities can talk
8 more about that this afternoon, but they know
9 where the major pipelines and the major mains
10 are, and they have a big GPS program to locate
11 all their main distribution pipes and
12 transmission pipes. The difficulty is where some
13 of the distribution pipes are, the small pipes
14 that go to the residences, and knowing exactly
15 where those are located and which ones are
16 plastic and which ones aren't. That's more of an
17 issue. But as far as the emissions, the leaks, I
18 mean they've had leak survey programs going on
19 for many years and they know where a lot of these
20 big leaks are, but it's just never been cost-
21 effective before, I suppose, to fix them because
22 they weren't considered safety hazards, and so
23 therefore they didn't fix them. So there are a
24 lot of emissions out there and leaks that it's
25 known where they are, and they can find them and

1 repair them now.

2 MR. RHYNE: Okay, thank you. I've been
3 reminded that we've bumped up against our time
4 limit here. I want to take just a moment and
5 thank the panel, thank the members of our sister
6 agencies who are engaged on this issue of
7 fugitive methane emissions. I know that we're
8 going to be talking about it more throughout the
9 remainder of the day and hearing a number of
10 other perspectives. But it is important for us
11 not just because of this legislation, but also
12 because we are integrated in many respects in our
13 activities in this area, and so I want to express
14 my thanks to the panel for being here this
15 morning. There is a period if you have comments,
16 there is a period reserved at the end of the day
17 for public comment. We would invite you to hang
18 around if you do have those comments, you will be
19 able to share them at the podium at the end of
20 the day, or if you have comments we also want to
21 encourage you to submit them in written form.
22 The information for doing so will also be
23 presented later on today. So again, thank you
24 very much for your participation and I will hand
25 the meeting back over to Anthony -- I'm sorry, to

1 Heather.

2 MS. RAITT: All right, thank you. If you
3 could go ahead and take your seats, very much
4 appreciate your participation today. And then
5 we'll have the next panel come up on the National
6 Research on Methane Emissions from the Natural
7 Gas System. And so we'll just take a moment to
8 rearrange the room a bit.

9 So on our panel on the National Research
10 on Methane Emissions from the Natural Gas System,
11 Chris Marxen is the Moderator. If you'd like to
12 go ahead?

13 MR. MARXEN: Thank you. We are fairly
14 fortunate that there's been a lot of research
15 that has been done recently by EDF, and we've
16 gotten two of their researchers to agree to come
17 here today. So I've been looking forward to this
18 presentation since they agreed to come. I don't
19 know who is going to go first -- Tim O'Connor
20 will go first, and then he'll be followed by
21 Ramon Alvarez.

22 MR. O'CONNOR: Great, thank you. And
23 Commissioner Weisenmiller, thanks so much for
24 inviting us to participate in this important
25 discussion today. And our presentation is going

1 to in some ways go back and forth, I'm going to
2 present some information, Dr. Alvarez is going to
3 follow me, and then I'm going to pick back up on
4 a couple points.

5 But I think we've heard thus far about
6 some efforts that California is doing to reduce
7 and manage methane emissions from various
8 sectors, and at a very high level what we're
9 trying to do is evaluate emissions from
10 individual components of the value chain and then
11 in the end put it altogether so we can identify
12 what is the impact of the natural gas system on
13 the environment and how do our policies in
14 California like our investment in natural gas
15 vehicles, or our widespread use of natural gas in
16 power generation, how does that affect the
17 climate?

18 Indeed, when you look at the importance
19 of this, you know, AB 32 itself says that
20 California needs to manage leakage. And leakage
21 in AB 32 is defined as when you have an emission
22 reduction here in the state it's offset by an
23 emissions increase somewhere else. And we need
24 to manage the things that undermine our efforts
25 to reduce GHGs. And so as we build out a natural

1 gas infrastructure for transportation, or as we
2 use natural gas to displace coal, as we've been
3 doing for a number of years, physical leakage,
4 the leakage from the pipes, the leakage from the
5 production system, the leakage from trucks, if
6 you will, can have an impact and can actually
7 result in leakages, the legal definition of
8 leakage. And so we see this not only as an
9 imperative for the environment, but really as an
10 imperative to meet the goals and aims of AB 32.
11 And as California fits into a framework within
12 which other states in the nation is moving, we
13 want to make sure that our efforts here work
14 within that, for those efforts, and don't pull
15 back from where the nation is going. And I think
16 we're going to be seeing a lot of that this
17 summer.

18 So as we jump into the presentation, I
19 think we're going to really start off with Dr.
20 Alvarez kind of talking about the fuel cycle and
21 then we're going to go through each of the
22 individual studies that are out here and talk
23 about how it all fits together as sort of just a
24 roadmap, then we'll kind of get back to putting
25 it altogether.

1 So Ramon, I'll turn it over to you, thank
2 you.

3 MR. ALVAREZ: Good morning, Mr. Chairman.
4 So just to emphasize a little bit of what Tim
5 just talked about, when you consider natural gas
6 at your home, at your business, your vehicle,
7 your power plant, the emissions burden that
8 results from the point of combustion doesn't tell
9 you the whole story. And that's an issue that
10 I'm going to spend most of my time talking about
11 today, is the methane emissions that occur
12 upstream and at the point of use can have a
13 material effective on the climate implications of
14 natural gas use.

15 So just looking at it from the standpoint
16 of a vehicle, you have to look all the way
17 upstream starting with the distribution pipes
18 that brought you the gas, the transmission pipes
19 that brought the gas to the distribution, and
20 then the production, gathering and processing of
21 the gas. So a lot of opportunities for emissions
22 all the way along.

23 About five years ago, Environmental
24 Defense Fund wrote a paper on the proceedings at
25 the National Academy of Sciences that basically

1 said that the methane emissions matter. At the
2 time, there was starting to be a lot of debate
3 about hydraulic fracturing and the emissions of
4 methane from natural gas, and that it could be
5 that natural gas power plants were worse for the
6 climate than coal because of all the methane
7 leakage from fracking. So this paper helped sort
8 of provide a framework for analysis because there
9 was a question, okay, well, how much does methane
10 matter? It's a different gas than carbon
11 dioxide, how do you value the warming effects of
12 methane? Do you use the 100-year global warming
13 potential? Do you use the 20-year global warming
14 potential? We propose a framework that basically
15 looks at the time dimension explicitly, all
16 across time, from the time that you make a
17 decision to invest in natural gas fuel versus
18 coal, or diesel for truck fleets, all the way
19 through time. Long term, the answer is determine
20 by the CO₂ emissions. So if you have less carbon
21 in the fuel like natural gas does relative to
22 diesel or coal, you're going to be good for the
23 climate. But in the short term, the methane
24 emissions drive a lot of climate impacts and, if
25 you have enough, you actually may be doing more

1 harm to the climate even though you have less
2 CO₂, the methane is doing more damage in the
3 short term, so this allows you to look at that
4 effect.

5 We were able to define some thresholds
6 below which you could be sure that you were doing
7 good for the climate on the short term and the
8 long term.

9 We've recently provided a new analysis
10 that updates the work from 2012 looking at truck
11 fleets. There was concern at the time of the
12 original work that we talked about diesel truck
13 fleets, but the data was based on data for
14 transit buses. They have different duty cycles,
15 so they're not as efficient, so the question was
16 is that a fair comparison for a truck fleet?

17 So we've done this new paper where
18 essentially we call out that there's three major
19 parameters that are important to do this, to
20 answer this question, is gas trucks for
21 transportation goods movement better or worse for
22 climate? You've got to have the emissions
23 upstream, the emissions in use, methane emissions
24 in both cases, and the efficiency of the vehicle.
25 No big surprise all three of those parameters

1 matter; this new paper essentially examines a
2 variety of inputs to those parameters and
3 indicates that under some combinations of those,
4 if we can reduce emissions upstream, in use, and
5 improve vehicle efficiency, you can have natural
6 gas trucks being good for the climate; if you
7 don't under current data, best guess data, you
8 could have 50-90 years of climate damage,
9 depending upon the kind of truck engine that
10 you're using.

11 So long term? Good for the climate, but
12 in the mean time you're going to have 50-90
13 years' worth of climate damage and the question
14 is, is that a good policy decision to make for
15 the state of California or the Federal
16 Government? For fleet owners? What this points
17 to is there are things you can do to affect the
18 equation so that you can actually be producing
19 climate benefits from day one.

20 As I mentioned, this paper and the
21 previous work was using best available data,
22 mostly from the Federal Government, the EPA, its
23 inventory, and the GREET model that's used for
24 transportation purposes. But there was a lot of
25 questions, especially back in 2012, how good is

1 the data that exists right now? So we undertook
2 the work that we're going to talk about today to
3 try to answer the question better, what really is
4 the emissions? Where are the sources of
5 uncertainty? How can we reduce that uncertainty?

6 I have a series of slides that kind of
7 just walk you through the conventional way of
8 thinking about climate impacts from fuel
9 combustion or a vehicle, and then sort of this
10 new way of thinking with the methane. So let's
11 just kind of click through these.

12 The framework that we propose essentially
13 looks at the radiative forcing from one
14 technology versus another, so radiative forcing
15 is simply the first step in the climate change,
16 it's the amount of heat that's being absorbed by
17 the molecules in the atmosphere that leads to the
18 change of events in climate change. If one
19 technology over another has a higher ratio, which
20 means you're doing climate damage that's above
21 the value of one; if you're below the value of
22 one, that means that you're doing climate
23 benefits.

24 Conventionally, what people think about
25 is the CO₂ emissions, so the light blue line at

1 the bottom tells you that CO₂ emitted per unit of
2 fuel consumed, it's about 30 percent less for
3 natural gas than for diesel. That doesn't tell
4 you the whole story because natural gas engines
5 are not as efficient as diesel engines, by and
6 large, there is depending on the type anywhere
7 between five to 15 percent less efficiency per
8 unit of fuel consumed to go a mile, natural gas
9 relative to diesel. So in fact it's about 20
10 percent better when you consider the loss of
11 efficiency, a natural gas truck relative to a
12 diesel truck in terms of the CO₂ emissions.

13 But as I mentioned, the methane is a lot
14 more potent than CO₂, 84 times on a 20-year
15 basis. The 20-year basis is just one point on a
16 curve, it starts out that a single methane
17 molecule is 120 times more potent than CO₂ and
18 that decays over time, methane is removed rapidly
19 from the atmosphere. By the time you get to 100
20 years, you get to the value that most people
21 know, it's 28 times more potent. So this decay
22 function drives the short term implications of
23 the methane.

24 So when we put it on this slide, you get
25 a curve that looks like this. So now what you

1 see is the full time dimension, long term it
2 starts to approach that 20 percent benefit, but
3 in the short term the methane emissions are
4 increasing radiative forcing, increasing the
5 climate damage, so that you start out somewhere
6 above 20 percent worse for the climate than the
7 conventional diesel option, and somewhere around
8 90 years you start to provide climate benefits.
9 So this is the point, this shows that the methane
10 matters, you can do the same kind of analysis for
11 power plants, all the lines shift down based on
12 the current available data. This shows you
13 reference cases, if you click through the next
14 one you're going to start to see sensitivities
15 around let's change the assumptions, so if the
16 efficiency penalty was eliminated, you would have
17 the green line and you would start probably
18 around 10 percent worse rather than 20-some
19 percent worse. If you removed the emissions at
20 the vehicle level, again, you move it down but
21 you still have a slight penalty at the beginning.
22 If you remove the upstream emissions altogether,
23 then you start out better for the climate from
24 the beginning. And if you combine them
25 altogether, you get that theoretical curve of

1 around 30 percent less and so that's the
2 theoretical maximum you could get just in terms
3 of the CO₂ emissions and no methane, so that's
4 the best case.

5 So that just gives you a framework to
6 think about this, the studies that we're doing
7 now that we'll talk about, will start to provide
8 data that we can see how good the data is that
9 we're using for this model. You can update it
10 and, as we finish the work, we'll be updating it
11 with those new values.

12 This just shows you one of the slides
13 from the paper that shows you different
14 technologies with the different sensitivities
15 that we ran. Okay?

16 MR. O'CONNOR: Thank you, Ramon. And if
17 I could just jump in here. I think it's valuable
18 to see and think about this in terms of turning
19 the dials, you know, if you turn down the dial on
20 leakage and you can turn down the dial on onboard
21 emissions, or turn up the dial on efficiency, you
22 certainly can imagine that even using fossil
23 natural gas you can provide a net climate benefit
24 in trucks as power generation, but if you don't
25 manage those dials and if you even in some ways

1 turn them up because of other productive
2 techniques, or other things, you can certainly
3 start to make the climate impact worse. Of
4 course, we haven't talked here about using other
5 sources to produce the natural gas like biogas,
6 biomethane, things of that nature, which then you
7 start to take off some of the other impacts, of
8 course. But then if you let that leak into the
9 air, then we have another range of impacts. And
10 so these studies that we're going to go through
11 here really do talk about sort of the production
12 of fossil natural gas, the idea of using biogas
13 is not really captured within these studies, but
14 it's something that of course warrants attention,
15 especially insofar as methane is leaking into the
16 air anyway, especially from the decomposition of
17 organic material and to the extent we can capture
18 that, keep the leakage of that low, and get that
19 into the pipes, you can only provide an additive
20 climate benefit, as long as we take care of other
21 needed issues associated with ecosystems and
22 their effects.

23 And so I just wanted to add that side
24 note and I think what we'll do is jump into the
25 studies, kind of what we were sort of brought

1 here to really talk about, and we'll put it
2 altogether at the end.

3 MR. ALVAREZ: So maybe this is a good
4 time to pause and see if you have any questions
5 sort of on the context. Normally when I do this
6 talk, which is getting longer and longer as we
7 finish the studies, but it's 15 or 20 minutes, so
8 I'm going to talk more than usual, but I want to
9 make it as valuable for you as possible. So if
10 you want to ask questions now, or during the
11 talk, please feel free.

12 CHAIRMAN WEISENMILLER: No, no, that would
13 be good. Let me start with at least two basic
14 ones. Just a footnote, my undergraduate training
15 was in Chemistry, so when you talk weight instead
16 of molecules, of course, I sort of wince a little
17 bit, although I don't think it changes the
18 conclusion, but again we always taught students
19 to think molecules were where reactions occur.
20 You know, and certainly weights are much
21 different between two molecules, as CO₂ and
22 methane. But anyway, again, that's just sort of
23 a whatever, Undergraduate, well, you would not
24 get out of the U.C. Berkeley Chemistry Department
25 Undergrad, you know, talking weights and not

1 molecules. So anyway, footnote 1. But I mean,
2 on the interesting policy question, as Tim
3 understands, one of our big issues in California
4 is that 20 percent of the economy in Los Angeles
5 is goods movement, and certainly as we look at
6 the air quality impacts, we're struggling on how
7 do we maintain the economy, reduce greenhouse gas
8 emissions, and get the cleaner air there, and
9 sort of what are our choices. And obviously
10 there are some arguing about switching to the
11 natural gas, and then you're back to the
12 question, is it renewables? Where do you get it
13 from? But that seems to be one of our huge
14 economic issues in the next, say, 10 years is how
15 to deal with goods movement in Southern
16 California while cleaning up the air and dealing
17 with greenhouse gas emissions. So back in your
18 overall study, what are the three or four things
19 we would need -- how can we make progress on
20 those fronts down there?

21 MR. ALVAREZ: Yeah, let me just make a
22 caveat that everything that I talked about in
23 terms of fuel switching trucks from diesel to gas
24 focused just on the climate impacts, and there's
25 a lot of other considerations including

1 economics, including local air quality. I've
2 spent most of my previous professional career
3 working on the conventional air pollutant side
4 and especially, you know, a decade ago and
5 before, natural gas vehicles were dramatically
6 better than diesel. Federal Standards on diesel
7 engines have improved so the margin is smaller
8 than it once was, but from an air quality
9 standpoint, that's a completely different set of
10 considerations, that's one of those things you've
11 got to weigh in terms of the costs and benefits
12 for a region like the LA Basin what you do.

13 So we'll go through the studies and,
14 again, please stop me at any time. I'm going to
15 sort of give you a sense of what we've learned so
16 far, try to put any insights that I think might
17 be relevant to the California situation, knowing
18 that you don't have as much production of gas per
19 se down here, but when I can I will try to
20 highlight that.

21 Just again, just emphasizing that the
22 supply chain, you know, that the methane
23 emissions no matter where they're released are
24 going to damage the climate, so you need to sort
25 of account for those as you consider the fuel

1 use.

2 We've seen slides about the contribution
3 of oil and gas emissions.

4 And again, this is a partial slide of
5 what I saw before, which was excellent, knowing
6 kind of where your gas comes from will be very
7 valuable to really do in the attribution of
8 impacts. You asked a question about do we know
9 kind of what the variability is basin to basin, I
10 think it's fair to say -- and I'll talk a little
11 bit about this -- that there is variability. The
12 work that's been done from the Top-down so far
13 shows that numbers range from anywhere from less
14 than a percent of gas produced in a basin to
15 upwards of seven percent. The averages if you
16 look sort of at larger scales, national or
17 international scales, the averages tend to
18 cluster maybe around two percent, four percent
19 internationally, so you can't have everybody
20 emitting at seven percent for the math to work
21 out. But there will be some areas that are
22 higher, some are lower, and I think
23 opportunities, you know, basin specific based on
24 practices, or the kind of technology that's used
25 there, to address emissions, but knowing where

1 your gas comes from is an important part of the
2 process. Next slide.

3 All right, so 16 studies with a lot of
4 industry partners, leading academic institutions,
5 and research firms. The projects are led by
6 academic scientists, we have essentially like a
7 principal investigator on each project. They are
8 responsible for the design, execution, and
9 analysis, as well as the publication of the study
10 which is another key point, is that all the work
11 has to be presented through the peer review
12 literature to try to make it as robust as
13 possible. The academic principle investigator
14 does interact with the sponsors. EDF was one
15 sponsor of some of the projects, an entire
16 sponsor for some of the others. The principal
17 investigator received input from the sponsors,
18 but ultimately all the decisions were theirs. We
19 try to use multiple methodologies to try to avoid
20 missing things, to try to make sure, for example,
21 using Top-down studies to see that we were
22 capturing everything, it's always hard when
23 you're doing Bottom-up to know that you've got
24 everything and you've got it right, so the Top-
25 down studies help provide confirmation.

1 We had scientific advisors that were
2 independent of the study that reviewed some of
3 the methods and analysis, as well. And all the
4 data will ultimately be made public as results
5 are published for hopefully others to use and
6 mine as much value as possible from those.

7 This infographic kind of shows you the
8 supply chain, which is in the background starting
9 on the left at the well sites, and on the right
10 side all the way through a hypothetical refueling
11 station for trucks. We have studies that address
12 each part of the value chain, we did one study
13 that looked at a particular end use, the one for
14 heavy duty trucks, just because there were a lot
15 of question about that.

16 So I'm just going to go through these and
17 it shows you that there's an aircraft at the top
18 that we did some Top-down studies, as well as
19 Bottom-up projects, and we're starting to work on
20 that reconciliation which I agree with the
21 speakers earlier, that that's kind of an
22 important area for reducing uncertainty going
23 forward, is sort of understanding those and
24 seeing whether they're agreeing or not, and I
25 think the emerging picture is that they are

1 starting to agree, which is good. Next one --

2 CHAIRMAN WEISENMILLER: Actually, let me
3 stop you for a second. So flip back. So I think
4 when this legislation was originally passed, our
5 hope was that the EDF studies would be completed
6 before we got to the stage of trying to write
7 something up. And obviously some of these are
8 done, some are submitted but not public, and then
9 others are not submitted? Or almost -- anyway,
10 so looking out, at this point what's your best
11 guess when everything is going to be done and
12 wrapped up?

13 MR. ALVAREZ: I wish that we were doing
14 this presentation in six months and that your
15 schedule would accommodate that, and we had hoped
16 to be finished by this point. Science takes
17 longer than you always expect, and at the end
18 having the deliverable be a peer reviewed
19 publication really raised the standard of the
20 work, and the time required, you basically had to
21 add five to six months at the end of each project
22 for that publication process to play out. So
23 I'll give you an update on where we stand on
24 things. I do think that by November everything
25 should be out, but you guys have to, for the

1 report, have to have information before that to
2 get it into the report that publishes in
3 November. So it'll be a little bit of a
4 challenge, but we're committed to working with
5 your staff to provide as up to date information
6 as we can right up to your submission deadline
7 for the report. I think what's going to be
8 missing, that what you may not have at the end,
9 is going to be sort of the overall what we're
10 calling the synthesis of all the work; it's our
11 16th project, which is really just pulling them
12 altogether and saying in the most simple term,
13 what is the leak rate? And it's going to be a
14 national level leak rate, probably with some
15 acknowledgement of the variation from different
16 basins. But that's going to be the last one to
17 come. We're still waiting on some of the results
18 to really start that process, but it probably
19 won't be submitted to a journal until I would
20 guess August or September, and then a couple,
21 three months to get it published after that.

22 CHAIRMAN WEISENMILLER: The other
23 question is, even assuming magically we could
24 slide dates, you are back to -- presumably you've
25 learned a lot from what you've done so far, is

1 there going to be a Phase 2 where you're
2 basically going to try to show gaps or --?

3 MR. ALVAREZ: The 15th of the studies on
4 the bottom is a little bit of gap filling and so,
5 as we went, we found some gaps. Abandoned or
6 from wells is one of them, the super-emitters is
7 another one, it's not really a gap so much as
8 it's a special problem in this field. And so
9 there will be some questions to answer there, but
10 there will be some remaining gaps. The only
11 further work that we're envisioning right now is
12 other end uses, including potentially what's
13 going on behind the meter, and I was glad to see
14 that you all are sponsoring work here to do that,
15 I think that's a big question. I think one of
16 our studies, I might as well just mention it now
17 since it's relevant, the Boston project, which is
18 number 10 there, they did a series of towers,
19 three or four towers in the Boston area over two
20 years roughly, and were able to estimate how much
21 emissions of methane were occurring in that
22 region. And what they found was that total
23 emissions, not unlike what you found in
24 California, were higher than the estimated
25 emissions from the best available inventory that

1 the State of Massachusetts had prepared. And
2 with some ethane as a sort of way to attribute
3 their methane from landfills and other biogenic
4 sources from oil and gas, you know, they
5 determined that the methane emissions in terms of
6 the throughput of gas in the region was -- I
7 think it was 2.5 percent or something like that,
8 about two times higher, maybe three times higher
9 than the inventory. And one of the things that
10 they are positing in their results, because they
11 don't know, is so where's that excess coming
12 from? They're thinking it's coming from behind
13 the meter because based on all the data on
14 individual components of the natural gas
15 infrastructure, it doesn't seem like that adds
16 up, so there must be some missing source and
17 behind the meters is one of them, and so we
18 envision doing some additional work to get to
19 that question.

20 MR. WEISENMILLER: Are you doing any work
21 in the non-oil and gas, but the other emitters?
22 You know, biogenic or --?

23 MR. ALVAREZ: Oh, not directly in terms
24 of quantification, but you know, I think this is
25 probably getting a little too in the weeds, but

1 the inventories for the biogenic sources seem to
2 be pretty good in terms of the sort of overall
3 biogenic and fossil attribution that you see from
4 the Top-down studies. The landfills have a
5 particular degree of uncertainty with them
6 because there appears to be a variability in
7 emissions due to meteorology, the pressure and
8 changing pressure kind of affects the flux out,
9 and so it's another one of those sources where if
10 you just did like a one-day snapshot on a
11 particularly emissive day or low-emissive day,
12 you may kind of miss the landfill signatures. So
13 I think one of the lessons from the work is that
14 if you're doing single measurements, you need to
15 sort of be cautious about how representative it
16 may be from typical operations, or the point
17 earlier about annual emissions. So you want to
18 get kind of multiple measurements and see how
19 that temporal variability can be averaged out.

20 MR. O'CONNOR: One thing I would like to
21 add is we have discussed the timelines associated
22 with some of the studies that have been
23 submitted, but are not yet public, and it does
24 look like some of them will be ready and public
25 prior to the final submission deadline for the

1 report, and so we've been speaking with your
2 staff to evaluate that and we'll make sure that
3 we feed that in as soon as they're ready.

4 CHAIRMAN WEISENMILLER: Okay, that's
5 good. And certainly the basic question of what
6 are the four major uncertainties, and what can we
7 do to try to deal with those, we'd certainly love
8 to get EDF's input on that, either now or in
9 writing.

10 MR. O'CONNOR: Well, spoiler alert, we're
11 going to talk about that at the end. I think the
12 two of those we've heard about today in terms of
13 the regulations and the efforts that California
14 is proceeding with, number one on the oil and gas
15 side, we heard Elizabeth Scheehle from the Air
16 Resources Board talking about what the State is
17 doing. I think that what Ramon has already shown
18 in terms of the super-emitters problem we've kind
19 of discussed, is quite relevant, that the
20 proposal that's on the table right now with the
21 Air Resources Board seems to be insufficient for
22 dealing with that issue. Currently the proposal
23 is to allow oil and gas operations in California
24 to go with an annual inspection period frequency
25 at their sites. And really, that is insufficient

1 for dealing with the random occurrence, or the
2 inability to know when and where super-emitters
3 may indeed pop up in oil and gas production and
4 there's a number of folks in the environmental
5 advocacy community that are really focusing on
6 this particular effort, to make sure that the
7 rules in California are as stringent as possible
8 with regard to the inspection frequency. And
9 indeed, when you look at what effect loose
10 California rule may have on the U.S. as a whole,
11 when the Bureau of Land Management and U.S. EPA
12 are going to be proposing rules for oil and gas
13 production later this year, and where we see
14 other states, Colorado, Pennsylvania, Wyoming,
15 already having gone to quarterly leak inspection
16 requirements, to have California take a step
17 backwards could have ripple effects throughout
18 the U.S. Economy in terms of the inspection
19 frequency of oil and gas operations. And that's
20 one thing where California can make significant
21 progress, is by having a very stringent oil and
22 gas rule.

23 And the second point, we've heard about
24 SB 1371, which the CPUC is implementing right
25 now, we're a party in that proceeding, and

1 implementing that bill to its natural extent
2 which would require utilities really to quantify
3 emissions from their systems so we can figure out
4 where the biggest leaks are, and so we can
5 prioritize investment in that, and to not allow
6 some of those leaks to persist for extended
7 periods of times. We see from some of the
8 utility reports that leaks have been in the
9 system for over 20 years. A single leak may
10 persist for over two decades, it could be going
11 to a party and drinking alcohol at this point.
12 At this point, I think when we look at 1371,
13 there are some really low hanging fruit and some
14 things that the PUC and the utilities really need
15 to be doing to putting that best effort forward
16 because we're the first state in the nation to do
17 something like that, to do something like this
18 bill, and if we do it right here, we think that
19 just like the oil and gas rule for production, we
20 can see pretty dramatic benefits across the U.S.
21 on the energy system.

22 CHAIRMAN WEISENMILLER: Is EDF doing
23 anything in the area of developing a risk
24 assessment framework for 1371?

25 MR. O'CONNOR: So far we haven't

1 evaluated that specific issue, but that's
2 definitely a point worth noting, I mean, I'll
3 talk a little bit offline about how we can think
4 through that issue.

5 CHAIRMAN WEISENMILLER: Okay, thanks.

6 MR. ALVAREZ: Okay, next slide. I'm
7 going to come back to the question, again, about
8 some lessons learned or reducing uncertainty, Tim
9 already gave you a preview of that.

10 And let me just also say that it's a real
11 pleasure to be here today to listen to a lot of
12 the good work that's going on in California. As
13 a former grad student at U.C. Berkeley where we
14 learn about molecules versus pounds of gasses,
15 I've always been an admirer of the environmental
16 ethic in California, so it's really nice to see
17 all that you're doing and I appreciate the
18 invitation.

19 We're going to tell you sort of a
20 snapshot of what we're learning, but it's by no
21 means the only organization involved in doing
22 work. Other states and other organizations are
23 doing more work, so in the last five years we've
24 learned a lot and probably in the next five we're
25 going to learn a lot more, too. But I don't want

1 to make it sound like we have the monopoly on
2 knowledge here.

3 So I'm going to talk about 10 of the
4 studies that have been released already. The
5 next three slides just kind of summarize the
6 citation for each of them, and then we'll sort of
7 go individually and I'll try to give you a little
8 snapshot of high level insights from each one.

9 So the first one that came out was
10 production and this one might have been the most
11 anticipated one of them all because it dealt
12 squarely with the biggest question at the
13 beginning which was, hey, this hydraulic
14 fracturing process, how much methane is release
15 when you complete the well? And the answer was
16 potentially a lot. So the difference here is one
17 about potential emissions and actual emissions.
18 I think early on when the process was started in
19 the mid to late '90s, there probably was a lot of
20 emissions being emitted each time a gas well was
21 fractured and completed, sort of brought on to
22 production, when you had the flow-back where all
23 the liquids and materials come out of the wells
24 sort of to clean it out to start producing.
25 There were a lot of efforts made in the first

1 decade of the 2000's to implement practices
2 called green completions to capture some of that
3 gas, and by the time that we were doing the
4 study, most of the wells that were evaluated had
5 that equipment on site and so essentially 95-97
6 percent of the potential emissions were being
7 captured or flared, so the process was not that
8 emissive from the results that we had. Now,
9 there were some wells that were not controlled,
10 they tended to be lower potentially emitting
11 wells, and then the question is, you know, is
12 that the norm? Since that time, the EPA has
13 adopted standards that apply to all new gas wells
14 that should require the use of green completions
15 or flaring. So by and large, the lesson from
16 that part of the work was that green completions
17 work to reduce emissions, they seem to be widely
18 used at the time, and if not they will be because
19 of the Federal Regulations. However, that
20 applies to gas wells and, as we've heard already
21 today, California has a lot of oil wells and
22 potentially a lot of new oil well hydraulic
23 fracturing going on. Federal Standards do not
24 yet cover oil well completions and as evidenced
25 in the Bakken and in the Eagle Ford Shale in

1 Texas, the oil wells can have a lot of gas
2 associated with them, and a new oil well can have
3 plenty of potential emissions of methane. If you
4 don't use a green completion, you could have a
5 lot of methane there, so that's an important gap
6 in the regulatory system right now. You know, we
7 can estimate what those emissions can be based on
8 data from like the greenhouse gas reporting
9 program and it can be significant. It's not
10 quite as high as a new gas well, but you know,
11 50, 75 percent of the emissions are not out of
12 the range of possibility there. So if that's a
13 growth area for the State, it's something that
14 you definitely want to watch out for because this
15 result will not tell you -- you need to look at
16 the potential emissions, rather than the actual
17 emissions from this study if you do that.

18 So this study also looked equipment
19 leaks, it looked at pneumatic controllers, and
20 pneumatic pumps. And what it found for those
21 were that those were generally higher, the
22 emissions from those were generally higher than
23 what the EPA estimates were, unlike for
24 completions, those were all higher.

25 Phase 2, next slide, because liquids

1 unloading which they had some preliminary data
2 for in Phase 1, and pneumatic controllers were
3 such a large portion of the emission inventory,
4 the Federal inventory, we felt like it would be
5 useful to take a closer look at those two sources
6 and for those the conclusion was that liquids
7 unloading were a significant source. The
8 emissions were largely in line with what EPA
9 estimated in the aggregate, but there are
10 different practices with plungers and without
11 plungers, the share of each changed a little bit,
12 but that one is one that requires more attention.
13 It's good to see that the State is also looking
14 at some improved reporting for that source, and I
15 think the good news on that one is that there
16 appears to be strategies to minimize those
17 emissions. BP has done a lot of work that's been
18 published through the Natural Gas Star Program
19 where essentially you try to optimize the
20 unloading schedule using plungers so that you let
21 the reservoir do the work for you and you don't
22 actually have to vent the well, so you can almost
23 eliminate the emissions.

24 The pneumatic controllers, those
25 emissions actually appear to be even higher than

1 I believe in the first phase, and there's
2 questions about the emissions from continuous
3 vent devices versus intermittent vent devices,
4 but there's also a big question about how many
5 devices are out there and the observations from
6 the survey were that there may be two or three
7 times as many controllers out there as are
8 estimated in the inventory. So you take a higher
9 emission factor and a higher population, and you
10 get a lot higher emissions. So that's one where,
11 you know, if there's underestimates going on,
12 that's a possible source of why.

13 One last point I would make about this
14 specific to California, in sort of following this
15 issue I've recently seen some infrared camera
16 images of California operations that pointed to
17 some of these like liquid storage ponds, or
18 evaporation ponds, and a lot of emissions coming
19 out of those. That's not an area that we've
20 studied, it sort of seems to be, I mean, liquids
21 are produced with a lot of our natural gas
22 operations, produce water, condensate as well,
23 they're normally stored in tanks and those tanks
24 can be controlled. I've seen in some states they
25 do have more of these ponds. I would say that's

1 an area for future work, there's a lot of water
2 that is produced, I think disproportionately
3 larger in other states than here in California,
4 that the potential emissions of methane, as well
5 as BOCs from that is an area where it's a gap in
6 the work that we've done. Next slide.

7 Along the way, one of our goals was to
8 try to get as much information out there into the
9 literature, into public use. EPA had done some
10 work doing some mobile measurements around well
11 sites in various basins around the country. They
12 presented it in conferences and we asked them,
13 gee, you know, it would be great if you could get
14 this into the literature. They didn't have
15 resources, so we did a cooperative research
16 agreement with them, brought in some analysts,
17 and they ultimately ended up getting the data
18 fully analyzed and published in *Environmental*
19 *Science and Technology*. And one of the
20 interesting findings there, this starts to get to
21 that super-emitter lesson that we're finding
22 repeatedly, not just in our work but others, that
23 very skewed distribution, small number of sites
24 appear to be having malfunctions that were
25 leading to higher emissions, but, you know,

1 nothing earthshattering about the magnitude of
2 results, just that it was a skewed distribution,
3 some of the results were comparable to other work
4 that had been done Bottom-up, but slightly
5 larger. Next one.

6 So gathering and processing, actually two
7 of three papers on this project have been
8 published already, one was the measurement
9 technique that was used, and the second one was
10 the result of the measurements; 114 gathering
11 sites and 16 processing plants. High level
12 findings are that gathering facilities can have
13 high emissions, these are compressor stations,
14 not unlike transmission compressor stations,
15 typically a little smaller, perhaps less
16 regulated, but the emissions can be comparable to
17 a large transmission compressor station.

18 The processing plants show that the
19 emission factors from the processing plant were
20 smaller than what is in the inventory, so perhaps
21 due to regulations over the 20 years or so since
22 the inventory factors were developed, there's
23 been improvements, so it's probably the most
24 regulated sector of the industry, the processing
25 sector. So emissions tend to be lower there than

1 the Federal estimate.

2 The remaining papers, the one that's
3 going to bring it altogether and say what are the
4 total emissions from the gathering and processing
5 of gas, and that's been submitted, I expect that
6 will be published by the end of the summer,
7 probably in time for your report, for sure.

8 CHAIRMAN WEISENMILLER: It's interesting,
9 PG&E used to own and operate the gathering system
10 on Northern California and I'm not quite sure
11 where it ended up, but there's a real push for
12 that to be basically spun out, a fairly old
13 system so, again, I'm not quite -- some was the
14 individual producers wanted the gathering
15 facilities that gave them more flexibility in
16 order to sell. But that could be an issue in
17 California, the Northern California gathering
18 system.

19 MR. ALVAREZ: One gap in this work was
20 that because of the logistics, the gathering
21 pipelines were not within the scope of the study,
22 so we studied the facilities, but gathering
23 pipelines will remain a question mark at the end
24 of our work, that needs to be addressed.

25 I mentioned multiple methodologies, so we

1 did two projects with the University of Colorado
2 Boulder, a group that is affiliated with NOAA,
3 and they flew in the Denver Julesburg Basin and
4 they flew in the Barnett Shale. In the Denver
5 Julesburg, they found that the emissions were
6 higher than predicted by the inventory, this is
7 one where they found about four percent of gas
8 produced in the region was being emitted after
9 they accounted for the biogenic sources. They
10 didn't have the benefit of a tracer gas to do the
11 attribution, so it's based on kind of an
12 inventory-based attribution, so there's some
13 uncertainty around that. But roughly four
14 percent of the gas produced in Denver Julesburg
15 was being emitted. And that was in agreement
16 with the previous project that group had done,
17 not related to an EDF project.

18 Not one of our 16 studies, but done by
19 the same group, was a study in Utah in the Uinta
20 Basin. They found about seven percent, plus or
21 minus three percent, of gas produced, was being
22 emitted there. So that's considered like the
23 high end point in terms of observations and, as I
24 mentioned, other groups actually fully a NOAA,
25 just entirely NOAA, did some flyovers that were

1 recently published in four basins, Marcellus,
2 Fayetteville, Haynesville, and I forget the
3 fourth one right now, but they were in the one
4 percent to two percent range. So a lot of
5 variability again basin to basin, so it's
6 important that you not sort of say everyone is
7 going to be right at the average, there's going
8 to be a distribution.

9 MR. O'CONNOR: And this of course is
10 important, when we looked at one of the slides
11 that was presented by the Air Resources Board
12 earlier today that upwards of 36 percent of
13 California's natural gas is coming from the Rocky
14 Mountain Basin, which is precisely where we're
15 talking about with this study.

16 MR. ALVAREZ: Next slide. The flyover
17 they did in the Barnett Shale is in publication.
18 We expect that this is going to be out in early
19 July and it's going to be published in
20 conjunction with some Bottom-up work that we did
21 concurrent with their flyovers, so I think it's
22 going to be one of the first sort of combined
23 Top-down Bottom-up coordinated efforts, and I
24 think will produce some interesting insights
25 about how to design those studies in the future

1 and the kinds of measurements that you need and
2 hopefully a sense of how good is their
3 reconciliation, how close are we coming?

4 Next one just sort of lays out the
5 Bottom-up campaign. We had 12 different research
6 teams making measurements from the Bottom-up; and
7 actually, when I say "Bottom-up" it's kind of
8 intermediate scale. We had some onsite
9 measurements, but we also had some measurements
10 that you would consider Top-down because they may
11 have been made from an aircraft, but they were
12 focused on a facility, so when I say Bottom-up, I
13 typically would refer to a facility level
14 emission estimate, or a component specific
15 estimate, as opposed to like a basin level
16 estimate which averages all the sources.

17 Transmission and storage, one of two
18 papers have been published. This is the one
19 that's published that reports the measurements
20 that were made at about 45 transmission or
21 storage compressor stations. I think the biggest
22 takeaway from this study is that the emissions
23 are individually large from compressor stations.
24 I think you asked a question about where's the
25 greatest uncertainty or variability and I think

1 one of the answers I would give you is that the
2 capacity or throughput of a facility is a good
3 indicator of how important it could be emissions-
4 wise, the potential emissions. And so you've got
5 to look at a well site is only going to have so
6 much gas that can be emitted because it's coming
7 out of the ground, but as you concentrate flows
8 into these larger facilities like gathering
9 sites, processing plants, transmission stations,
10 those are ones that need special attention
11 because the emissions could be quite large. And
12 what they saw there was two of the 45 or so sites
13 accounted for something like two-thirds of the
14 emissions. So the super-emitter issue came up.

15 Local Distribution. This is probably one
16 that is most pertinent to California just because
17 you guys have entirely localized distribution
18 systems here in the state. This was a Bottom-up
19 study, pipeline leaks and meter and regulating
20 stations. The top level result was that the
21 emissions were lower overall than what is in the
22 EPA's Greenhouse Gas Inventory, and the
23 explanation for that, which they interestingly
24 were able to test by going to facilities that
25 were measured in the 1990's and going back to

1 measure them again, was that they found that
2 emissions were much lower at a subset of those
3 facilities that they could find, and it appears
4 it's due to equipment improvements at those
5 facilities, as well as operating practices where
6 they have leak detection and repair programs at
7 those, so emissions have gone down apparently due
8 to operator practices and maintenance and
9 improvement in technology. Also, skewed
10 distribution, so some small number of the
11 individual emissions drove a lot of the total.

12 So I mentioned the Boston project, so I
13 won't repeat that again, other than to say that
14 we're doing a similar project in Indianapolis.

15 This is soon to be submitted for
16 publication, similar kind of work where they had
17 towers and in this one aircraft as well to
18 measure sort of the Metropolitan area level
19 emissions.

20 MR. O'CONNOR: And I'll jump in here.
21 With respect to the Colorado State University
22 methane mapping work, this is a project that the
23 science team did actually do measurements here in
24 California down in the Los Angeles region, and
25 are currently evaluating a fourth city. So far

1 we've released maps of leaks that we were able to
2 determine were coming from the local distribution
3 system in this particular project, using street
4 view cars by Google outfitted with mobile methane
5 monitoring equipment. The researchers drove the
6 cities of Inglewood and Pasadena and Chino two
7 separate times and using an algorithm that was
8 based specifically for this project, we were able
9 to determine relative sizes of emissions coming
10 from individual leaks. On the next slide, we'll
11 see that by looking at the geocoded information,
12 we were able to overlay this onto a map to
13 identify the location of those individual leaks
14 and really sort of create for the first time in
15 California, as we've been doing other places, a
16 publicly consumable set of information about
17 where leaks might be coming from in our
18 distribution system.

19 On the next slide, you'll see that the
20 results from Los Angeles are actually somewhat
21 similar to some of the other cities that we've
22 mapped, you know, in terms of falling within the
23 range. We're going to be releasing maps of
24 Chicago here pretty soon. We've released similar
25 maps in Burlington, Vermont and Stanton Island,

1 Boston, and Indianapolis, and what we see is
2 really one leak per every four or five miles
3 driven in these systems. But some of those leaks
4 are much larger than others, and using the
5 algorithm that was created for this, we could
6 sort of determine a generalized low, medium or
7 high leak and thus allow for a coarse assessment
8 of where you might want to focus efforts. We're
9 submitting this into the Public Utilities
10 Commission process for the 1371 proceeding as
11 sort of a demonstration of the types of
12 technologies that are coming out to help
13 utilities be able to evaluate leak rates and leak
14 locations and various leak sizes.

15 But really the fact that we've been able
16 to see these leaks of various sizes in Los
17 Angeles really does confirm, you know, that in
18 California we do have the super-emitter
19 phenomenon, you know, we keep saying that it
20 exists out there just generally, but having
21 concrete evidence of documentation that indeed
22 there are those leaks here in California, that
23 are much greater than others, does provide a
24 helpful context in terms of the storytelling.
25 And when we look at also pairing this with

1 utility leak data that was released on the day
2 afterwards, we can see that some of those leaks
3 are of course of various sizes, but also of
4 various duration in terms of how long they've
5 been able to last for. And then I think to the
6 point where we talked about like what do we
7 recommend, that these types of technologies and
8 the opportunities to evaluate leaks, both using
9 mobile methane and sort of not as a replacement,
10 but as an addition to the existing types of leak
11 detection and quantification that's out there
12 really does have tremendous value. So next
13 slide.

14 CHAIRMAN WEISENMILLER: Actually, two
15 questions or comments. One of them is that we
16 probably should be thinking, too, in terms of
17 obviously California is seismically active and so
18 in terms of particularly when the earthquake at
19 Napa occurred, I think one of the things PG&E
20 needed to do was go through its gas distribution
21 system, so in terms of as you're doing the
22 checks, one of the things is trying to figure out
23 if there's any sort of metric to tie it to any
24 sort of seismic events.

25 MR. O'CONNOR: Uh-huh.

1 CHAIRMAN WEISENMILLER: And the other one
2 is we keep talking about emitters, one of the
3 things to think about is, you know, whether
4 portraying certain results as a cumulative
5 frequency distribution might be ways of getting
6 the message across that, you know, really trying
7 to focus a lot of the mitigation, at least
8 initially, on sort of the high leak, high value
9 parts.

10 MR. O'CONNOR: Yes, and on the seismic,
11 of course the utilities do present safety plans
12 and they talk about inspections after seismic
13 events just as inspections after other sorts of
14 things, you know. I'm aware that even when we
15 have big events coming to towns in other cities,
16 you know, some of the utilities go do large
17 sweeps just to -- because there's going to be a
18 lot more foot traffic or people around, so there
19 are certain events and things that could
20 necessitate and really get value from more
21 frequent leak inspection. And on the cumulative
22 frequency distribution, I think what you're
23 talking about is sort of evaluating certain types
24 of conditions to determine whether they should be
25 inspected more often, or things of that nature?

1 CHAIRMAN WEISENMILLER: Actually it's
2 more the presentation. I know at one point when
3 I was looking, say, at Q rep (ph) power
4 production, you know, that literally the top ten
5 might well be 97 percent of the power, you know,
6 if you had a few 300 megawatt projects as opposed
7 to a lot of one megawatt projects, you know, just
8 those really, so again in this context it may be
9 that most leakage is coming from your thousands
10 or tens and tens of thousands of potential
11 sources, but maybe the top ten have a real
12 phenomenal portion of the leaks.

13 MR. O'CONNOR: Indeed, and in fact in the
14 Los Angeles study, some of the largest leaks
15 we've seen in the entire study were located there
16 and that point is well taken.

17 MR. ALVAREZ: Okay, so last major study
18 I'll describe is the pump to wheel study, one of
19 the end uses, this is one where they measured
20 emissions from heavy duty natural gas vehicles
21 and CNG and LNG refueling stations. The study
22 has been submitted and hopefully will be out
23 July/August timeframe. This is one with a lot of
24 interest. Because one of the things that I found
25 doing the work is that, especially for the

1 vehicle in-use portion, very little data on that,
2 and so this will help with that data gap.

3 Let's skip through to the one that just
4 summarizes the studies to come. I'm going to
5 talk about some timelines and then some
6 takeaways. Okay, so what's still coming? I
7 mentioned the Barnett Shale, that's going to be
8 early July for those, it's going to be a series
9 of about 10 to 12 papers on that. The pump to
10 wheels is submitted, in review, as is the
11 transmission and storage scale-up and the
12 gathering and processing scale-up. All of those
13 could be July/August publication, if not sooner.
14 Indianapolis study is close to being submitting.
15 The gap filling is still in preparation, so that
16 one may be later in the year. Project synthesis,
17 we have processes in place to start to bring all
18 that data together, but I don't envision that
19 will be submitted probably until the
20 August/September timeframe, so that one may be a
21 little bit outside of your -- probably the end of
22 the calendar year I would guess for publication
23 of that.

24 Tim has some other sort of related
25 studies that we're working on to present, but let

1 me just take a quick moment and give you some
2 other sort of takeaways that I think might be
3 relevant for you. I want to emphasize -- we've
4 talked a little about super-emitters, but it's
5 important not to lose sight of the policy
6 implication of the non-super-emitters. I think
7 that the mobile source vehicles, emissions from
8 those over the years is a good illustration, you
9 know, we've had an inspection and maintenance
10 programs and we've had remote sensing, roadside
11 remote sensing to try to flag super-emitters
12 because we know that a few of those have a lot of
13 emissions. And so I think a mediation strategy
14 should include focus on those and we would argue
15 leak detection and repairs, sort of looking out
16 for those, is important to target them and fix
17 them quickly. But let's not lose sight that over
18 the years we've also had increasingly more
19 stringent vehicle emission tailpipe standards,
20 right, that have brought the whole sort of tide
21 of emissions down and so on top of that you've
22 got the super-emitters. So we need an approach
23 that has sort of a cure for the regular emissions
24 and then that also addresses the super-emitters
25 because at any one time, those are the ones that

1 are driving the total.

2 I think I would also say that abandoned
3 and orphaned wells is an area, we're going to do
4 some preliminary work on that, some recent work
5 was published out of Princeton that had a limited
6 number of measurements in the Marcellus, we're
7 going to add some additional measurements in some
8 other plays. It's hard to do that work because
9 it's hard to find these things physically, and
10 then the measurement is difficult because the
11 emissions may not be coming out exactly where you
12 think the source is, they could be coming out
13 from the ground nearby, so that's touch work but
14 an area of important work that needs to be done.
15 And as I mentioned, in the case of California I
16 think the emissions from the water that's
17 produced with hydrocarbons here is important to
18 take a look at, too.

19 MR. O'CONNOR: Great, thank you. And
20 next slide. We've been talking about the
21 emissions and where they're coming from. We can
22 evaluate this not only, of course, from the point
23 of how much is out there, but what can we do
24 about it and what is the economic benefit we get
25 from cultivating solutions that reduce emissions

1 and grow the body of technology that's out there.

2 On the next slide you'll see a cost curve
3 which has already been presented today, which we
4 continue to use as point number one about the
5 fact that this is in many ways a money saver for
6 businesses and, in fact, this type of cost curve
7 is really proof positive why it does pay to move
8 to quarterly inspections and quarterly
9 maintenance, as opposed to annual. You look at
10 leak detection repair being some of the most cost
11 effective opportunities to reduce and manage
12 emissions, we look at the fact that things break
13 without notice at times, and that facilities if
14 we let emissions go for upwards of 365 days,
15 those can be very significant sources of
16 greenhouse gas emissions across the oil and gas
17 sector, and then implementing these policies you
18 can see that nearly 40 percent of reductions can
19 be achieved at essentially cost mutual or at a
20 cost savings from day one.

21 And as we do that, it will grow and we've
22 been evaluating businesses that are located not
23 only across the United States, but even here in
24 California that can provide some of these
25 solutions, not only businesses that are employing

1 workers to go and turn wrenches in and to fix
2 things, but businesses that are manufacturing the
3 equipment that can go into reduce emissions. And
4 this report that is available on our website
5 talks about the companies located here in
6 California up and down the state that are
7 providing these types of solutions and
8 manufacturing technology that can go into place
9 in oil and gas operations across the U.S. and
10 here in California.

11 And the technology that's emerging both
12 from these companies and others is something that
13 we've been focusing on with what's known as our
14 methane detectors challenge, where we've really
15 opened up through an RFP and a competitive
16 process an opportunity for individual industries
17 and industry partners to come and showcase their
18 technology and allow us to test it and have it
19 put into use so we can evaluate the best new
20 technology that's out there. And in this
21 particular one, we have industry pilots who will
22 be defining and determining the best technology,
23 then submit it to us in order to try and help
24 advance the ball in terms of methane detection
25 for the purposes of increasing the ability to

1 find and respond to leaks.

2 And finally, as we get into like the
3 final three slides, on the next one you'll see
4 that this all does fit into a set of activities
5 that are improving the ways that we can quantify
6 emissions, but also to increase sort of what we
7 can get out of all that quantification. And, you
8 know, time and time and time again we see the
9 emergence of skewed distributions, this super-
10 emitters issue, that the national and global
11 studies that are out there that do present ranges
12 of methane emissions in terms of system-wide leak
13 rates, are not necessarily fully accurate and
14 more studies need to be done, and that's why
15 we're evaluating from our synthesis paper both on
16 the U.S. but also noting the region effort, the
17 region-wide variability that will be important.

18 And as this fits into what California is
19 doing, I think it's important to note that the
20 Energy Commission, of course, has been a leader
21 in investing in, and growing, in doing research
22 development, and deployment, and helping to
23 really commercialize new technologies and
24 technology applications, and we want to make sure
25 that, as we do this, and as we know that some of

1 the proposals even in the Legislature right now,
2 whether they're budget proposals or whether
3 they're implementation proposals from the bills
4 that are already on the books, that those are
5 being done in a way that really takes into
6 account the whole potential impact of the
7 investments. And I think as the leadership that
8 the Energy Commission is in, and so far as it has
9 so much to gain by helping California transition
10 to alternative lower carbon fuels, and to an
11 energy system that is lower carbon overall, we
12 also have so much to lose if the investments are
13 not made with the mindset that there are
14 potential leakage issues with respect to methane
15 that can undermine them.

16 And therefore I think that there is a
17 need for the Commission's voice, both through
18 this IEPR Report, but through other connected
19 activities, whether it is through communicating
20 in the Energy Principals Group, or to the work
21 that's happening at the Air Resources Board, or
22 to the work that's happening at the Energy
23 Commission, or in efforts like what's happening
24 at the Federal Energy Regulatory Commission in
25 terms of setting standards for leakage coming

1 from interstate pipelines, or from efforts at the
2 Bureau of Land Management, or through efforts at
3 the Western Governors Association which is right
4 now talking through how we get region-wide
5 efforts to reduce emissions and information
6 sharing and collaboration, or through the work at
7 EPA later this summer.

8 The Energy Commission here has a very
9 strong voice and, Chair Weisenmiller, your voice
10 in this could be very helpful, not only through
11 this IEPR, but through the range of work that is
12 going to be connected to what California does
13 because of the tremendous amount of gas that we
14 import and our need to reduce emissions, both
15 here in California and upstream. So, thank you.

16 CHAIRMAN WEISENMILLER: Thank you.
17 Thanks for your participation and your work on
18 this. I think actually just a couple of follow-
19 ups with you, I mean, one of them, it seems like
20 if there's a way to really find breakthroughs in
21 sensor technology, that that could move us much
22 more towards real time monitoring. You know,
23 again, you're getting the cost benefits, but it
24 would be sort of interesting as we're going
25 forward if we could sort of really drive the

1 sensor technology along.

2 The other thing is, you know, obviously
3 one of the things that exists in the Cap-and-
4 Trade is potential offset programs and so the
5 issue in part is whether, as you're trying to
6 structure industrial responses to doing
7 mitigation measures, if somehow this could become
8 an offset, would that drive the programs faster
9 and further. And then we might be able to do it
10 through regulations.

11 MR. ALVAREZ: Could I just respond to the
12 first one real quick?

13 CHAIRMAN WEISENMILLER: Sure.

14 MR. ALVAREZ: I don't think Tim mentioned
15 this as explicitly as I would like, on the
16 methane detectors challenge, I think is in line
17 with what you just outlined, that it's not so
18 much about testing specific technologies, but
19 testing a methodology that would allow you to
20 sort of do real time monitoring of operations, so
21 much like a smoke alarm, you would know that
22 there is something wrong here, operator, pay
23 attention, come send somebody out to fix it. And
24 so I think the sensing technologies are there,
25 the question is what are the systems that you

1 need to build around it so that you could have
2 that and sort of avoid false positives and things
3 like that, so that's where we hope to end up by
4 the end of the pilot projects later this year, or
5 actually they'll be in 2016. But I also want to
6 point out that the ARPA-E has a similar effort,
7 more about promoting the technologies themselves,
8 they have eight or 10 different projects that got
9 funded with the hopes that they could help them
10 through to commercialization. We were not trying
11 to pick winners so much as trying to demonstrate
12 that an on-site system of detectors and
13 information management could help you find these
14 malfunctioning facilities so you could fix them.

15 CHAIRMAN WEISENMILLER: Yeah. It seems
16 like if you compare the electric system, gas
17 system operating centers, you know, typically the
18 gas is like a decade behind, although the new
19 PG&E center may be even state-of-the-art, their
20 gas dispatch center at this point seems to be a
21 step ahead of the electric system, so as you
22 start thinking about sensors SKADA, you know,
23 basically information-based, again by bringing
24 new technology into the gas operations side, and
25 it's been many years ago I was in the El Paso

1 Control Center and, again, that was sort of
2 fairly primitive at that stage, you'd have people
3 go out and measure the meters once a day, once a
4 month, or whatever, and they were moving towards
5 the SKADA system where they'd even know what was
6 flowing through some of the pipes. So again, if
7 there's a way to move this more towards real
8 time, that would be presumably something to think
9 about. We work a lot with ARPA-E on R&D stuff,
10 so again, I think a lot of our focus in this area
11 is on the research, both climate research and
12 also coming out of the San Bruno Safety Research,
13 but trying to look at where we can help move the
14 needle on the gas side and the R&D side, so that
15 certainly -- when we go out, we ask for feedback
16 on it, and often we just have the individual
17 researchers coming in saying send me more money,
18 so to the extent we have more of an EDF
19 perspective on where the public good is, that
20 would be very helpful to help us on the R&D side.

21 MR. O'CONNOR: Absolutely. And I think
22 that the presentation earlier today talking about
23 the projects that are out there, one note is
24 that, as someone who has tried to follow the
25 project submissions over the years, it's not

1 obviously the most intuitively obvious section of
2 the Commission's website and processes,
3 especially when there's so many things that are
4 happening in this area to fund methane detection,
5 leak abatement, flyovers, and if there were an
6 opportunity to increase the ability of the
7 individual stakeholders to know kind of what's on
8 the table for potential funding by the Commission
9 in possibly a new light, that could be very
10 helpful for increasing participation in those
11 requests.

12 CHAIRMAN WEISENMILLER: Now I was going
13 to say, I don't know if Mike is still here - oh,
14 Laurie is there, so Laurie would love to talk to
15 you about how to facilitate that sort of
16 participation and feedback, right? Yes. We do a
17 lot of outreach. Obviously one of our
18 difficulties is not giving, you know, if
19 individual researchers make sure they don't have
20 any advanced warning of where we're heading, but
21 at the same time trying to get sort of a policy
22 direction on, yeah, we need better sensors, as
23 opposed to the next six months from now we're
24 going to do a PON that covers blah blah blah
25 amount of money in this very narrow topic, we

1 have to sort of skate that. But we definitely
2 are looking for ways.

3 I guess the other question generally, is
4 that part -- and also certainly we're trying to
5 do much more in sort of disadvantaged communities
6 and the diversity aspects, so obviously as we go
7 through trying to make sure that R&D dollars
8 really capture the needs of all Californians, and
9 not just at the sort of wealthy early adapters.

10 MR. O'CONNOR: Well, we could talk for a
11 long while about the opportunity to focus
12 benefits in disadvantaged communities. One
13 project we did undertake in Texas was to involve
14 and to outreach to local communities so that when
15 they did experience, or see, or witness both from
16 the communities, but also from the operators of
17 individual facilities potential issues associated
18 with emissions, or operational questions that
19 might have the potential to result in localized
20 emissions that they knew of, how they could both
21 report that internally, but also externally, to
22 provide for more rapid response. We've been
23 seeing a fair bit of attention and focus on that
24 from local communities to really give them more
25 tools to be able to understand and to potentially

1 interact with folks like yourselves at the Energy
2 Commission and the Air Resources Board, to try to
3 move the ball forward about sort of increased
4 attention and focus by the facilities themselves
5 on reducing emissions. A lot of this is going
6 to, I think for the oil and gas operations,
7 really be benefitted by very rigorous rule at the
8 Air Resources Board that does require quarterly
9 inspections, because we do think that that is
10 going to get a very significant amount of the
11 emissions from oil and gas operations and the
12 attendant co-benefits that you get from managing
13 the leakage from those operations.

14 CHAIRMAN WEISENMILLER: Yeah, well that
15 certainly brings me to the question which I think
16 you raised earlier, is a lot of our gas
17 production is co-production of oil and so trying
18 to understand that aspect of gas production, what
19 needs to be done there.

20 MR. O'CONNOR: Uh-huh.

21 MR. MARXEN: Well, thank you, Mr. Chair
22 and once again, thank you Timothy and Ramon, it's
23 been a pleasure to have you here. This will
24 conclude this panel. For those of you who are
25 listening on the phone, remember there will be a

1 public comment period at the end of the third
2 panel today. And with that, I will turn the
3 microphone over to Heather.

4 MS. RAITT: I think we're ready to take
5 our lunch break. Does the Chair have anything to
6 add?

7 CHAIRMAN WEISENMILLER: No, I think that
8 would be good. I was going to say, the only
9 thing I would say is if there's anyone in the
10 room who, you know, doesn't plan to come back
11 after lunch and who has a public comment, I
12 certainly would welcome them to step up now.

13 MS. RAITT: I do think we have one person
14 on WebEx who may have a comment, as well, if we
15 want to go ahead and take that?

16 CHAIRMAN WEISENMILLER: Yeah. So now and
17 then we'll do one at the end of the day, but
18 certainly. If you're going to be at the end of
19 the day, then certainly if you'll stick around
20 for that, that would be good. But otherwise, go
21 forward.

22 MS. RAITT: So I believe Rosa Dominguez
23 is on the line and she had a question.

24 MS. DOMINGUEZ: Hello?

25 MS. RAITT: Yes, go ahead.

1 MS. DOMINGUEZ: Okay. Hi. I have a
2 question for Ramon Alvarez and the question was
3 that using his method of technology warming
4 potential, it's a little different to the
5 traditional global warming potential method. And
6 I was wondering if he -- and I see how his method
7 has advantages because it's a time dependent --
8 it gives you an idea of time dependent warming,
9 but I was wondering if he has an idea of why IPCC
10 is not using methods like this, or whether
11 they're considering incorporating it.

12 MR. ALVAREZ: Thank you for the question.
13 This is Ramon Alvarez. You know, it's a new idea
14 and it's a little bit complicated. It's really
15 not that much different than the 100-year or 20-
16 year global warming potential. We think it's a
17 lot more insightful and it sort of removes that
18 choice about which is the right one. I think
19 what we're looking at is that time dependence of
20 the climate influence, so it shows you the whole
21 story and, you know, you can derive from our work
22 the conventional analysis you would get with
23 using the 100-year or 20-year global warming
24 potential. We probably need to do a better job
25 of providing that grounding point for people so

1 that they feel more comfortable that this is not
2 just this complicated but not useful analysis.
3 I'll mention that almost at the same time we
4 published our new work on heavy-duty fuel
5 switching, Carnegie Mellon published a paper on
6 the same topic and actually independently
7 calculating emissions and using 100-year and 20-
8 year global warming potentials, they found
9 similar results to ours, again, in fact theirs
10 were a little bit worse, even, for the natural
11 gas vehicles. They found that even at 100-year
12 timeframe, there were still damages, and we're
13 predicting between 50 to 90 is where you start to
14 get climate benefits. So I think, you know, with
15 some time and I think practice people will get
16 more comfortable with this method, but I think
17 you get 50-75 percent of the insight still with
18 the 20-year global warming potential than the
19 100-year. It just tells you that there's a time
20 element that needs to be -- that has points
21 besides just those.

22 MS. DOMINGUEZ: Yeah, so one more
23 question would be, how different do you think
24 your results are from Carnegie Mellon's? Because
25 if they project that even after 100 years is the

1 worse and yours is it may be after 50 to 90
2 years, I think you said, is the difference in
3 these conclusions due to the fact that Carnegie
4 Mellon is estimating the cumulative warming?

5 MR. ALVAREZ: I need to look more
6 carefully, and we just found out about this paper
7 last week, at the source of the difference, but
8 my guess is that it's some combination of the
9 emissions of the gas supply chain, the emissions
10 assumed for the vehicle, and the efficiency of
11 the vehicle. Those are the three parameters that
12 drive the results; otherwise, you just get
13 whatever the CO₂ emissions are from combustion,
14 and as we acknowledge in the paper, all three of
15 those parameters have a lot of uncertainty
16 associated with them, and there's not a lot of
17 great data, so my guess is that we just differ a
18 little bit on the emissions assumed.

19 MS. DOMINGUEZ: Okay, so for full
20 disclosure, I am a Researcher at U.C. Davis and
21 actually I also have a research paper on the
22 carbon intensity that the CEC is funding
23 therewith, and I was wondering maybe we can take
24 this offline, but I was wondering if I can check
25 back with you to make sure we have similar

1 assumptions in all these parameters?

2 MR. ALVAREZ: Sure, yeah, please call me.

3 MS. DOMINGUEZ: Okay, thank you.

4 MS. RAITT: Thank you. And I don't think
5 we have anyone else on the WebEx, so...

6 CHAIRMAN WEISENMILLER: Okay, so we'll
7 take a break. We'll come back at 1:30?

8 MS. RAITT: Yes, 1:30.

9 (Break at 12:36 p.m.)

10 (Reconvene at 1:31 p.m.)

11 MS. RAITT: Okay, so we'll start again
12 after our lunch break. And we have a panel this
13 afternoon on California's Ongoing Research and
14 Potential Detection and Mitigation Efforts, with
15 the Moderator David Stoms. Go ahead, David.

16 MR. STOMS: Good afternoon. My name is
17 David Stoms from the Energy Research and
18 Development Division here at the Energy
19 Commission. I'll be moderating this afternoon's
20 final panel. And just as a kind of quick recap
21 of where we are in the program, today's agenda,
22 we started with perspectives from State agencies
23 and then moved into a series of projects done by
24 EDF on looking at emissions from different
25 components of the natural gas system and kind of

1 from various parts of the country. And this
2 afternoon we're going to focus directly on
3 California, both from the research side, research
4 being done in California specifically, and then
5 we'll also have a couple of utilities talk about
6 work they're doing on both detection of emissions
7 and reduction of emissions.

8 So our first speaker then is going to be
9 the research part of the program, is Dr. Marc
10 Fischer. He's a Staff Scientist in the
11 Sustainable Energy Systems Group and Energy
12 Technology area at Lawrence Berkeley National
13 Lab. He's an Associate Researcher at the Air
14 Quality Research Center at U.C. Davis, as well.
15 Dr. Fischer's work focuses on quantifying and
16 mitigating earth radiative forcing due to
17 greenhouse gases and human habitation, and
18 development and identifying sustainable solutions
19 for energy-related environmental problems. Dr.
20 Fischer received B.S., M.S. and PhD degrees in
21 Physics from MIT, University of Illinois, and
22 U.C. Berkeley, respectively. Dr. Fischer, and if
23 you want to drive the slides yourself, or if
24 you'd like to sit here, whichever you'd prefer.

25 DR. FISCHER: Good afternoon, Chair

1 Weisenmiller. Thank you for hearing me, thank
2 you all for your attention. I'm going to give an
3 overview of preliminary work that we've done to
4 survey the methane emissions from the natural gas
5 system in California from wells to meters.

6 I'll give a brief motivation and
7 overview, which I think I can do pretty quickly
8 because most of you are already intimately
9 familiar with this problem, that will include the
10 natural gas methane contribution to California as
11 a climate pollutant, and some work on Bottom-up
12 estimates of natural gas methane emissions.

13 I'll follow with a description of what we
14 call the California Greenhouse Gas Emission
15 Measurement, or CALGEM project, focusing on
16 natural gas.

17 I'll say something about regional Top-
18 down estimates of methane from the San Francisco
19 Bay Area and sort of more generally the potential
20 for Top-down studies at the regional scale, some
21 airborne facility scale measurements that will
22 allow one to say something about emissions from
23 sort of kilometer scale facilities, a further
24 fine grained approach using something called a
25 localized mobile plume integration technique, and

1 then at sort of the scale of individual
2 residences, say something about some initial work
3 we've done on residential buildings. Next slide.

4 First, I want to acknowledge the team of
5 people that make this work possible. First,
6 thank the Energy Commission and the Air Resources
7 Board for their support in our large scale
8 methane and other greenhouse gas measurements.
9 This work here is primarily focused on natural
10 gas and is supported by the Energy Commission's
11 Natural Gas Program.

12 Beyond LBNL and U.C. Davis, we have
13 collaborators pretty much across the U.C. system
14 and at other institutions sort of within the
15 state and nationally.

16 To give you a very broad brush overview
17 of the problem, California's natural gas provides
18 roughly half of California's fossil fuel energy.
19 Methane is a short-lived climate pollutant. In a
20 rough term, the strength of methane relative to
21 CO₂ is such that, if three percent of natural gas
22 were to leak to the atmosphere without being
23 combusted in some process, the other 97 percent
24 that is combusted to CO₂ would produce the same
25 effective radiative forcing on a 20-year

1 timescale. In other words, methane is incredibly
2 potent on a short time scale, and so getting a
3 handle on it is clearly something that we should
4 be considering as part of overall climate
5 protection.

6 In the past, pre-meter distribution and
7 post-meter consumption leakage paths hadn't been
8 addressed very in great detail, and that's
9 something that we're trying to bring into the
10 work in this case. California is now moving
11 forward on efforts to control emissions and,
12 while natural gas is a small part of total
13 methane emissions, at least in our current
14 estimates, it certainly deserves attention being
15 from sort of a primary use sector of the energy
16 economy.

17 To give you an overview of the natural
18 gas system, the sectors run as you're all I think
19 familiar, this is a slide that Guido and his team
20 have prepared, taking U.S. EPA sort of
21 representation of production, processing,
22 transmission and distribution, and adding to it
23 these downstream sectors which arguably may
24 contribute in some significant way on the
25 consumption side, and I'm going to use the word

1 "consumption" from now on rather than
2 distribution to distinguish it from the
3 distribution system.

4 Our initial work on natural gas has
5 focused on essentially a first guess or first
6 estimate of Bottom-up emissions across all of
7 those sectors from production to consumption, and
8 it has been driven by U.S. EPA emission factors
9 and GIS activity data throughout the state where
10 it's available. It includes production from both
11 conventional and enhanced recovery wells,
12 transmission compression and storage,
13 distribution we handled -- and I really should
14 have said on this slide -- distribution and
15 consumption, assuming that the emissions in that
16 at least currently poorly understood set of
17 sectors is roughly a third of a percent of the
18 regional consumption. And this is really
19 essentially what I would call a first guess.

20 We put this together and published it in
21 the ES&T, the comparison of this Bottom-up, with
22 more fine grain Top-down work from the Los
23 Angeles Basin suggests that this may be an
24 underestimate for the Los Angeles Basin, but
25 there are still I think important remaining

1 questions there, so it's certainly not a final
2 word. Bottom line, we estimate at this point
3 that natural gas emissions are likely on order of
4 200 to 400 gigagrams of methane a year. My
5 apologies for mass units. Putting this in
6 perspective, livestock and landfills are a much
7 larger source so that natural gas might be only
8 10 or 20 percent of total methane.

9 So to go beyond the Bottom-up, we've
10 conducted and are still conducting a series of
11 different related studies at different
12 effectively spatial scales and temporal scales.
13 Regional emissions largely done through
14 collaborating tower networks, and ARB has been
15 instrumental in putting together a large set of
16 towers, there's other groups now, the Los Angeles
17 Megacities Project has a bunch of towers running
18 there, and we have a few towers within
19 California.

20 We've also tried to look at individual
21 facilities and I'll show you some of that work
22 using aircraft observations, and then more
23 recently we've started to look at essentially
24 small scale sources within either urban
25 environments, or individual gas wells using a

1 mobile plume integration method that I'll tell
2 you about, and then a little bit of work on
3 buildings that's just starting and is going to
4 expand, as was mentioned by Guido earlier.

5 So in terms of estimating regional
6 emissions, as I said before, natural gas is only
7 a small part of the total methane budget of
8 California and so at the regional scale there is
9 a real challenge in attributing methane in the
10 atmosphere at the regional scale to methane
11 emitted by natural gas, as opposed to landfills
12 and livestock. And to do that, it's really
13 essential to use additional tracers that are
14 specific, as much as possible, to natural gas,
15 and ethane is a key discriminant there,
16 additional Alkanes and other species are also
17 important. What these maps here show are
18 essentially on the bottom left natural gas
19 methane, in the middle using the same color
20 scale, total methane. And so you can see that
21 only in the urban areas is natural gas and the
22 Southern San Joaquin Valley, natural gas is
23 estimated to be a big part of the total.

24 In the Bay Area, we have started doing
25 some work in collaboration with the Bay Area

1 Quality Management District and PG&E. The result
2 of the most recent work has been published by
3 Farley et al and ES&T. That work suggests that
4 methane emissions based on a correlation with CO
5 as a relatively comparatively well-known tracer,
6 are roughly 1-1/2 to two times the current Bay
7 Area Air Quality Management District inventory
8 for methane emissions, suggesting that there are
9 sources of methane that are either underestimated
10 or not accounted for in their current inventory.
11 And we're working with Bay Area now to resolve
12 those differences and try to identify where the
13 sources are. Really, as I mentioned before and
14 want to emphasize again, there is no substitute
15 for being able to attribute methane to natural
16 gas as distinct from the other sources which are
17 comparatively large, and additional tracers are a
18 key to that. Next slide, please.

19 So to try to get a better handle on
20 sources with spatial distributions that are
21 sufficiently small that one can sample them
22 unambiguously as a natural gas source, we've been
23 in our CALGEM-NG project subtracting to
24 Scientific Aviation and in the bottom left you
25 see a photograph of Steve Conley's airplane.

1 Steve has instrumented the plane -- Steve did his
2 PhD at U.C. Davis in Chemistry, he's a Navy man
3 and he's instrumented a small plane with a rack
4 of gas instruments, a very high performance
5 anemometer and associated instrumentation, and
6 simultaneously keeps himself alive while he's
7 flying and collects great data.

8 What this figure shows on the right is a
9 map of methane collected from the plane upwind,
10 sort of the upper left of that plot, and
11 downwind, lower right, showing that the methane
12 on the downwind side of a known source is very
13 clearly measurable as compared with the upwind
14 side, the differences unmistakably detectable and
15 easy to quantify in this case, by integrating
16 multiple loops at different altitudes you can
17 effectively form what amounts to a cylinder of
18 measurement around a given facility and estimate
19 the total emissions. And when Steve does this
20 for known sources, the agreement is now at the
21 sort of 20 percent uncertainty level. I think
22 this will vary with weather conditions, but in
23 the cases that he has tested with known sources,
24 he has been very successful. And I would just
25 comment that Steve thought ahead and, working

1 with CEC and PG&E, instrumented the plane with
2 ethane measurements, as well, so that one can
3 measure the ratio of methane to ethane and very
4 narrowly attribute sources not only with their
5 spatial signature, but with a gas signature.

6 So what we've done so far working with
7 Steve is to fly loops around cylinders around
8 different facilities in the Bay Area and sort of
9 Central California area, these have included so
10 far natural gas storage and petroleum refining,
11 we're also looking at other sources. But these
12 have been the ones that are clearly identified
13 spatially and were straightforward to fly,
14 although we've had some interesting interactions
15 recently on that. In sort of round numbers, the
16 U.S. EPA estimates that Bottom-up emissions for a
17 typical storage facility might be on the order of
18 80 kilograms of methane per hour and in our
19 flights we've seen quite variable -- I will not
20 say variable, I will say flying five or six
21 different storage facilities in the sort of
22 Central California area, we've seen two sites
23 with non-detection; in other words, we could not
24 see a significant source, one with a small sort
25 of 11 kilogram an hour leak rate, and then over

1 five different flight days at one particular
2 site, measured between 80 and 300 kilograms an
3 hour. So appears that at least for the site
4 where there were quite large and measurable
5 emissions, they were also variable.

6 We have measured the ethane to methane
7 ratio for that large facility and found that it
8 agreed with what we would expect based on public
9 reporting of PG&E's methane to ethane ratios.
10 And we feel confident that this is a solid
11 natural gas signature.

12 This is not associated with natural gas,
13 but it's not pure natural gas infrastructure,
14 sort of associated industry, we've looked at
15 three refineries this spring from February and
16 May, and found that the emissions from those
17 refineries were both large and variable. We are
18 in the process of studying that further, here the
19 ethane to methane ratios varied quite a bit, and
20 we're guessing that this has to do with different
21 processes occurring at the plants.

22 In terms of production, we have gone to
23 the Southern San Joaquin and attempted many
24 flight hours with often very limited success due
25 to weather, but for one particular field on the

1 west side of the San Joaquin Valley, we were able
2 to measure very clearly an upwind, downwind
3 enhancement in that figure, and the lower right
4 shows blue toward the upwind side and sort of
5 reds and yellows on the downwind side indicating
6 methane enhancements. When we integrate that up,
7 we found integrated emissions extrapolated to an
8 annual basis that were on order 15 gigagrams of
9 methane per year, roughly consistent with our
10 CALGEM-NG Bottom-up inventory estimate based on
11 the wells that are there.

12 So, I mean, this is really just a first
13 step. I think other groups are measuring these
14 fields at other times, the data needs to be
15 pulled together into a larger hole to get a
16 picture because it does appear quite episodic.

17 Next, going to finer scales, we've built
18 an instrument in collaboration with Picarro.
19 Picarro is a manufacturer of high quality
20 greenhouse gas analyzers and with Picarro we've
21 built an instrument which we call the mobile
22 plume integrator, and really what this is is a
23 set of gas analyzers and a car with a mast on it,
24 and as it drives through plumes, it measures
25 their vertical distribution and their horizontal

1 distribution. And by measuring simultaneously
2 the wind velocity, one can construct a mass
3 balance estimate of the methane crossing the path
4 of the car, and from that make an estimate of the
5 emissions. When we've tested this technology in
6 controlled situation with a known leak rate, and
7 we've done this both on our own in Berkeley and
8 through partnership with PG&E at their test
9 facility, we find that the estimated emissions
10 are good to about 30 percent in typical
11 conditions when the plume is completely captured
12 by the height of the mast. And that is not
13 always the case, but we can very
14 straightforwardly tell when that is not the case,
15 and then our estimate is really a lower limit on
16 emissions as opposed to a quantified number.

17 I want to emphasize that this type of
18 technology provides the kind of tool that you can
19 make quantitative estimates with, it is not a
20 relatively leak rate, or relative enhancement
21 method, it is a quantitative emissions
22 measurement. We have submitted a patent on this
23 technology and we are waiting to see if LBL
24 follows through with the patent.

25 In terms of capped gas wells, people

1 brought this up as an interesting question, we've
2 started to look at that. On the upper right you
3 see a picture of the mobile plume integrator
4 system with the plucky experimenter standing next
5 to it. You can see the masts sticking up as sort
6 of a while pole on the front of the ancient
7 Prius, and what we did was using DOGGR's well
8 maps, found a bunch of capped and idle wells and
9 spent a day driving by as many of them as we
10 could approach from public roads. We looked at
11 12 capped wells. We were able to quantify one
12 plume very clearly, here I'm going to switch to
13 Volume Units and here the leak rates were on
14 order of 100 ccs a minute, or a tenth of a liter
15 a minute. Three other plumes were measured with
16 smaller, well, some smaller, some larger leaks,
17 but we only got one pass on each of those, and
18 then there were several that we either didn't get
19 a detection on, or could not get downwind of. So
20 in the lower right you can see a picture of a
21 plume enhancement for one of the sources that we
22 were actually able to drive all the way around,
23 so you can clearly see the big downwind spike on
24 the sort of upper portion of the plot.

25 We've now applied this technique to the

1 Bakersfield area, driving a series of roads
2 through the Bakersfield Metropolitan Area, we
3 detected 20 large leaks and, you know, numerous
4 smaller ones, I guess I would comment here that
5 Bakersfield was sufficiently rich in methane on
6 average that smaller plumes that we could see in
7 cleaner environments may have been masked here,
8 so this really represents a lower limit. We
9 found 40 percent of the emissions within half a
10 kilometer of large distribution pipes and some of
11 the largest emissions from an individual plume
12 appeared to be closely co-located with
13 distribution pipes that we found in maps later.

14 The integrated leaks along our path of
15 driving were about six kilograms of methane an
16 hour, and scaling by area that would be
17 equivalent to about 90 kilograms of methane per
18 hour from the sort of Becker Field Metropolitan
19 Area, which was roughly consistent with our
20 estimate of about 0.3 percent of consumption
21 being leaked in the distribution system -- sorry,
22 distribution and consumption side, distribution
23 pipes not being the same thing as post-meter
24 leakage.

25 Finally, in order to get at post-meter

1 leakage, we've started looking at leakage from
2 residential structures and we're starting there
3 because the commercial and industrial sectors are
4 sort of outside of our ability to readily sample
5 at this point. We've done an initially study of
6 houses in essentially the Berkeley and Oakland
7 San Francisco Area that we had private access to,
8 and here we depressurized the house slightly and
9 then measured the enhancement of methane in that
10 exhaust flow air relative to the inflow air, and
11 through a mass balance estimate emissions. The
12 end result of this work is that from the 10
13 houses we've studied so far, we have an average
14 leak rate of about 7 ccs a minute, which for the
15 houses we were able to compare with, was
16 equivalent to about 0.16 percent of their
17 consumption. And I guess I will comment that, in
18 terms of attribution, we used the C13 signature
19 of the methane that we observed to see that it
20 was in fact consistent with natural gas as
21 opposed to a biogenic course. I could say more
22 about that if people are interested.

23 We're now starting a project for CEC to
24 measure 50 to 75 homes across California's
25 housing stock and I'll be able to tell you more

1 about that in, I would guess, about a year.

2 Sort of adding on to the residential
3 leakage picture, the tests that we did with the
4 blower doors were done with the buildings in what
5 we would call a quiescent state, none of their
6 gas appliances were under active operation, they
7 might have had pilot lights lit, but they did not
8 have any of their sort of large burners running.
9 And we've started to look now at the large
10 burners on several different types of appliances
11 and we've done this using a combination of mass
12 balance and essentially looking at the ratio of
13 methane to CO₂ enhancements, and with the fuel
14 use of the device able to say something about the
15 methane emissions. We find that, in particular,
16 tankless water heaters which have very small high
17 intensity burners emit a fair amount of methane
18 and we've look at now three of them, and their
19 emissions have ranged from 80 to 300 ccs a minute
20 of methane, which in one hour of operation would
21 be roughly equivalent to the average house
22 leakage. So it appears that they are a non-
23 trivial potential addition to methane emissions
24 and should be considered further.

25 We've also looked at a couple of clothes

1 dryers that emitted a small amount of methane,
2 one gas range which emitted a small amount of
3 methane, and we looked at a couple of high
4 efficiency error heaters, furnaces. And the
5 furnaces very pleasingly and surprisingly
6 actually consume the atmospheric methane, so the
7 outflow from the combustions process actually has
8 removed methane. Next slide, please.

9 In summary, the work sponsored by CEC is
10 identifying key components of natural gas methane
11 emissions from the California system. The
12 emissions from production and distribution
13 sectors are uncertain and likely underestimated
14 in the state inventories that is our current
15 estimate. However, production emissions are
16 extremely episodic in our experience. I didn't
17 show slides of this, but some work over an oil
18 and gas field changed radically with weather,
19 there were drilling platforms in clear operation,
20 and so I think this is probably consistent with
21 some of the work, the much larger body of work
22 that's being done nationally, indicating that
23 some care if needed in collecting what I would
24 say true time averaged data, or a very very
25 careful program of being onsite when different

1 operations that might admit methane are
2 operating.

3 Distribution emissions are diffuse and
4 natural gas tracers are essential for making a
5 clear attribution, but in summary, atmospheric
6 measurements can be used to quantify emissions
7 and in particular should be capable of
8 monitoring reductions in emissions at multiple
9 scales. Thank you.

10 CHAIRMAN WEISENMILLER: So a couple
11 questions. One of them is what is the tradeoff
12 between using the Isotopic ratios or using ethane
13 for the attribution?

14 DR. FISCHER: Yeah, that's a good
15 question. I guess the glib response would be,
16 since there are almost no sources other than oil
17 and gas producing ethane, it is a pretty --
18 ethane is a pretty strongly indicative tracer;
19 whereas the isotope ratios vary significantly
20 across both biogenic sources and fossil fuel
21 sources, the ethane is likely to be a tighter
22 tracer. But I would say more generally multiple
23 techniques should always be considered to the
24 extent that it's economically feasible.

25 CHAIRMAN WEISENMILLER: Did you do any

1 mapping at all of biogenic or, as you were doing
2 the routes, I mean, were you seeing
3 concentrations?

4 DR. FISCHER: That's a good question. I
5 guess I would say we have not had the resource to
6 focus on the narrowing in on biogenic sources as
7 part of our work. In separate work for ARB where
8 we're responsible for estimating total methane
9 emissions from all sources, and attributing
10 regional emissions with VOC tracers, we're
11 starting to make a handle on that and, you know,
12 the evidence that's available now strongly
13 suggests that the bottom up maps at least in
14 rough measure are accurate in portraying a
15 picture where biogenic sources vastly outweigh
16 fossil for methane.

17 CHAIRMAN WEISENMILLER: Okay. Yeah, and
18 I guess the last one I'm trying to figure out, we
19 heard this morning about the risk profile on --
20 this may be more for PG&E and SoCal -- but in
21 terms of different levels of risk of emissions,
22 you know, 1, 2, 3, and I wasn't sure if you could
23 map from your stuff to that sort of size of the
24 leak and get to the risk? Say in Bakersfield or
25 --?

1 DR. FISCHER: I apologize that I am not
2 familiar with the risk categorization metric well
3 enough to do that quickly.

4 CHAIRMAN WEISENMILLER: Okay, that's
5 fine. Again, my guess was more a fair question
6 for the utilities. Great, thank you.

7 MR. STOMS: Thank you, Marc. Our next
8 speaker is Francois Rongere. He's currently
9 managing research and development and innovation
10 for PG&E gas operations. In this role, his team
11 is responsible for the detection, assessment,
12 adaptation, and introduction of new technologies
13 in the business. He has previously worked for
14 PG&E's Energy Efficiency Department, focusing on
15 the industry, high tech, bio tech, and healthcare
16 sectors. In 2000, he established Easenergy Inc.,
17 detecting and partnering with start-up companies
18 of the energy sector. Besides, he has been
19 teaching a class about Renewable Energy at San
20 Jose State since 2007. He is a graduate of the
21 Institute National PoliTechnique De Grenoble in
22 France. Francois.

23 MR. RONGERE: Thank you very much, David.
24 So can you pass the slides for me? Perfect.
25 Perhaps I can answer your question first about

1 how to characterize the characteristic of a leak
2 based on flow rate measurement. The grade of the
3 leaks from Grade 1, which is the other leaks to
4 the Grade 3 take into account the position of the
5 leak more than actually the size of the leak. So
6 a measurement of the flow rate doesn't correlate
7 very well with the grade of the leak.

8 So just my presentation, I will give you
9 an opportunity to give you a sense of what PG&E
10 is, but will also present some of the actions we
11 have taken in order to reduce leak and methane
12 emissions. And then I will switch to my part,
13 which is more R&D and talking about technology we
14 are working on in order to improve leak
15 detection, mainly, and leak quantification.

16 So PG&E is on this map the northern part
17 of California, about 5,800 miles of transmission,
18 pipelines, and 42,000 miles of distribution
19 pipelines. We serve about 4.3 million customers,
20 about 50 million person people and we deliver
21 about trillion cubic feet of natural gas per
22 year.

23 So starting with the action we take on
24 methane emission abatement, so I just listed here
25 to give you a sense of what we have done in the

1 past years about it. So first we talk about it,
2 replacement of the bleeding controllers with our
3 low bleeding controllers, this is true for
4 compressor stations and for regulation stations.
5 Second, we ordered our compressor sequencing in
6 order to put so most emitting during their
7 shutoff process, so the largest blowdown in their
8 shutdown process compressors, as baseloads, that
9 we actually decrease the emissions right away.
10 The third point, we do cross compression as often
11 as possible when we do idle testing, we have to
12 empty the gas to replace the gas water when we do
13 idle tests, to purge the gas we can use another
14 pipeline if it's close by and by cross
15 compression we avoid to release this gas into the
16 atmosphere.

17 Fourth point is to modify the Centrifugal
18 compressors, we have to dry gas seals. There was
19 wet gas seals and more leaking than dry glass
20 seals, so it's just an improved technology that
21 allows us to reduce the emission from our
22 compressors. Also, the starters of the
23 compressors are an opportunity to move from gas
24 powered starters to air or electric starters, and
25 so that reduces naturally the emissions.

1 We also have used the most advanced
2 technology to detect leaks, you know,
3 distribution systems, and we include that in a
4 new process we call Super Crew, you know, that
5 you more holistically take into account the leak
6 detection and repair process, and this actually
7 led to a reduction of about one-third of the
8 Grade 3 leaks. And that's, I think, we talk
9 about these grade leaks, grade 3 leaks which can
10 be fairly large and stay for a long time and I
11 think that using this approach which is more
12 integrated management approach, purely safety
13 leak management, so it's more integrated in the
14 overall safety plan of our company, we have been
15 able to take care of the Grade 3 leaks when
16 marginally it's not too much cost and we get the
17 better results. So I think that integration, you
18 know, integration management plan is a key in
19 order to optimize the management of the Grade 3
20 leaks.

21 Also, one thing is we finished last year
22 at the end of 2014, we have actually retired our
23 last cast iron pipeline from the system, so we
24 don't have any cast iron pipeline anymore in our
25 system. And cast iron pipeline are one of the

1 large of methane emissions, so it's a good way
2 also to reduce methane emissions.

3 So that's it about the action we have
4 taken to reduce methane emissions, but moving
5 forward we want to also to continue to improve
6 and I will just give you some examples of the
7 products we have. And it's not PG&E alone, we
8 see that that's actually connect to many of the
9 projects we have talked about, we are working
10 extensively in collaboration, either in
11 California with the California Energy Commission,
12 but also at the national level we have a three
13 group of R&D co-funding with the other gas
14 operators and utilities. These three groups are
15 PRCI Pipeline Research Council International,
16 which is focusing more on transmission pipeline
17 and compressor stations. In partnership with
18 NYSearch, which means New York Search, but
19 actually now is nationwide and SoCal and us are
20 members of NYSearch and it's focusing more on
21 distribution systems. The last but not least
22 group we belong to is GTI Gas Technology
23 Institute in Chicago. So these projects actually
24 are in collaboration with these different
25 organizations and that's very important for us.

1 We want to share the effort and the results of
2 this R&D.

3 So one thing that has not been mentioned
4 this morning is a project funded by the
5 California Energy Commission, co-funded with
6 PG&E, about two or three years ago through the
7 Small Grant Process. And with Ease and PSI
8 technology company, the idea was to develop a
9 continuous monitoring system for leak detection,
10 so the technology itself is a relatively well
11 known technology, it is an RMLD detector which is
12 used by the utilities to locate leaks from
13 distance, so you have a laser beam that you point
14 to where you think the leak is, and the
15 absorption of the light through this beam will
16 tell you how much methane is between you and the
17 target. So the idea is to put this technology on
18 a pole and to continuously monitor a line of
19 sight and we have demonstrated that we can go up
20 to 500 feet, but we are just limited by the size
21 of our field, the idea is it can go further than
22 1,000 feet. The idea is, by the system you can
23 put a longer pipeline, you can monitor this
24 pipeline or the facility which emits methane and
25 continuously monitor the emission of methane.

1 The project has been completed at the end of
2 2013, and the technologies are available now.

3 So the solar panel actually fed the
4 electricity on the equipment and the equipment is
5 totally anonymous, and you can take the
6 communication using your Verizon card, can
7 transfer the information to the control room
8 easily.

9 Another technology that we have
10 developed, this time with PSI, the first group I
11 mentioned about, and also with JPL in Pasadena,
12 is an handheld methane detector which is able now
13 to detect at the level of ppbs of methane. So
14 what a technology like Picarro, others have
15 brought, is this ability to detect very low level
16 of methane which allows us to detect the leaks
17 than the traditional equipment. This technology,
18 which has been developed by JPL to find methane
19 en masse by definition had to be very light and
20 small, so we take advantage of that in other to
21 have a tool which can be easily carried around to
22 measure methane. And associated with very cool
23 based methane detection, for example, we can
24 accelerate the process of finding the leak. As a
25 car in the street measures the methane in the

1 street, after that you have to find the leak and
2 to grade the leak, and this tool actually makes
3 this connection to find the actual leak.

4 An evolution of that, so the project has
5 been done with PSI last year, now we are moving
6 to continue to leverage the low weight and size
7 of the tool to mount that on a UAV, and using a
8 UAV we can survey facilities like regulation
9 station or pipelines or compressor stations
10 easily, and measure the methane, and obtain a map
11 of methane, a little bit of what Marc mentioned
12 before, but with a UAV on the smaller scale than
13 an aircraft. So that's another project which is
14 led by NYSearch with U.C. Merced and JPL.

15 So this technology focused mainly on
16 detection, but we can actually extend the
17 capabilities to go to methane quantification,
18 even if its' not the same problem, and the
19 technology which are done generally for detection
20 needs to be adapted for methane quantification,
21 it's not the same problem at all. So some of the
22 things we are doing, again with NYSearch, it's a
23 project we have started and our friends of EDF
24 are a member of that consortium around this
25 project, participating advisor of the projects,

1 testing different technologies to quantify leaks
2 from the distribution systems. And what we are
3 looking for is a way to quantify these leaks
4 fairly rapidly because if we need too much time
5 to quantify the leaks, of course, economically it
6 is not viable, so we want to detect technologies
7 that can help us to do that more rapidly. So
8 it's a project that started just at the end of
9 2014, we are just in the middle of it, we have
10 done a series of control tests using actually the
11 training facility of UGG on the East Coast, very
12 similar to our training facility in Livermore,
13 and so we have selected initially three
14 technologies and we are testing them now. And we
15 move to a field test after these first control
16 tests are completed.

17 Here is a more I would say exploratory
18 project, again with NYSearch, to develop a
19 technology which will really focus on the
20 quantification of measuring the flow rate because
21 we are measuring concentration in general with
22 the tools we are using, and we aim far from the
23 concentration the flow rate. If we can measure
24 directly the speed field, we can actually have a
25 good representation of the flow rate, and that's

1 what we tried to do with this super gas-emitting
2 technologies, that SR International has
3 developed, and we apply it to small methane leaks
4 now. Fairly exploratory, I would not say we
5 would get a system working at the end of the
6 year, it will take several years to put that in
7 place and to test it, but it's really a new look
8 at quantification of methane emissions by trying
9 to measure directly the flow rate.

10 So Marc mentioned this project with the
11 Bay Area Air Quality Management District. We
12 don't fund it but we are happy to be part of it,
13 and to support the work done by Lawrence Berkeley
14 Laboratory. And we really expect to learn from
15 that, especially about the distribution of the
16 leaks and the distribution of the methane
17 emissions; we know where the leaks are, but the
18 distribution of the methane emissions in the
19 geographic area and to try to correlate that with
20 our leaks that we find. So we're very excited
21 about this project.

22 Another project I wanted to mention that
23 we support as well, by doing some gas release
24 from our system for them, so it's a project from
25 NASA JPL which also aims to quantify large

1 methane emitters by combining two technologies,
2 one which is mapping of relatively large scale
3 concentration of methane, you know, to try to
4 develop a sort of control volume of the system
5 and count in and out of this control volume. And
6 also the HYTES system which is more direct
7 measurement of concentration using a passive low
8 frequency infrared system which observes the
9 emissions from the ground and in very low
10 wavelengths and it measures the methane in that
11 emissions, so different technologies that
12 actually we use generally. And it's interesting
13 to work with them on that and, same thing, we
14 partner with them in order to help them to
15 improve that technology and to learn about these
16 technologies.

17 Marc mentioned it, is the work done by
18 Steve Connolly and Ian Faloona about aircraft-
19 based characterization of methane emission, and
20 we participate through some control ways, as well
21 from our system where they can calibrate our
22 system, it's very important and we are so excited
23 by the progress they are making on that.

24 I think we are done. Thank you very much
25 for your attention and I would be happy to answer

1 any question you may have.

2 CHAIRMAN WEISENMILLER: Great. Thank
3 you. Just a few. So first, do you know, who
4 owns what used to be PG&E's gathering system?

5 MR. RONGERE: I don't know.

6 CHAIRMAN WEISENMILLER: I noticed it
7 wasn't listed on the PG&E facility, you got rid
8 of it, okay. In terms of hydrotesting, any idea
9 of how much you may be able to control versus not
10 control in terms of the gas part?

11 MR. RONGERE: I don't have the number. I
12 know that we try as often as we can, but I don't
13 have a comparison of how much we have avoided
14 compared to how much we have released to the
15 atmosphere. We can measure that.

16 CHAIRMAN WEISENMILLER: Okay, that would
17 be good. I was trying to understand is, you
18 know, PG&E is unusual in that with the Henschall
19 exemption, you basically have gas transmission
20 systems which are not regulated by FERC, so
21 trying to understand at least in this area the
22 difference between PUC and FERC Regulation, in
23 terms of your backbone system, in terms of
24 greenhouse gas emissions.

25 MR. RONGERE: FERC, I think, doesn't

1 regulate the gas emission of the systems, so I'm
2 not sure about this question, but perhaps
3 somebody else has a better answer than I can
4 have.

5 CHAIRMAN WEISENMILLER: Yeah, I think
6 earlier it was asked as sort of -- the comment on
7 the FERC proposed Regulations, and so I was
8 trying to understand how they might compare to
9 the PUC's -- you know, California is unusual to
10 have what most of the country would have is FERC
11 regulated pipelines. We do have some in terms of
12 Mojave and Kern River, but for the PG&E backbone
13 and SoCal Gas backbones, they are regulated by
14 the PUC and not by FERC. So anyway, we can line
15 that up at some stage.

16 MR. RONGERE: I will find an answer for
17 you.

18 CHAIRMAN WEISENMILLER: Okay, that would
19 be great. Thanks.

20 MR. RONGERE: Thank you.

21 MR. STOMS: Thank you, Francois. Our
22 final speaker today is Deanna Haines. She has
23 worked in the Utilities Sector since 1988 and has
24 held various leadership positions primarily in
25 the Engineering and Environmental areas. Deanna

1 currently is Director of Gas Engineering for
2 Sempra Energy's California Utilities, Southern
3 California Gas Company, and San Diego Gas and
4 Electric.

5 As Director of Gas Engineering, Ms.
6 Haines oversees the engineering standards and
7 research programs related to the design,
8 operation, and construction of the gas
9 infrastructure to ensure the reliable and safe
10 operation of the system. She has a Master's
11 degree in Business Administration from University
12 of Redlands and a Bachelor's Degree in Chemical
13 Engineering from USC. Deanna.

14 MS. HAINES: Thank you. Hopefully, well,
15 I think you saved the best for last here, yeah.
16 I'm surprised that people are still awake, you
17 know, it's that time after lunch, but hopefully
18 nobody will fall asleep.

19 I'm going to just quickly talk about the
20 company background, what we've done in the past
21 in terms of methane reductions. Francois covered
22 a lot of the technology issues, so I'm not going
23 to go too much in depth on that. Essentially
24 what Francois said is pretty much what we're
25 doing also. So the technology, I think Francois

1 did a great job of covering that.

2 And then I'm going to talk about our
3 vision of our system and how we use our pipeline
4 system, it's going to be part of I think the
5 overall solution of the methane issue. So next.

6 So our system is the biggest and baddest
7 and most bionic in the nation, it's the largest.
8 We've been in business over 140 years. We cover
9 essentially the bottom half of the state between
10 San Diego Gas & Electric and Southern California
11 Gas Company. We have about 21 million customers
12 and nearly six million meters.

13 From an operational standpoint, we
14 deliver about a trillion cubic feet of gas a
15 year, which represents about five percent of the
16 U.S. deliveries, and we have about 136 billion
17 cubic feet of storage capacity. Our backbone
18 transmission system is about 3,700 miles. We
19 have a distribution network which is extensive,
20 about 58,000 or nearly 58,000 of mains and 55,000
21 or 55.5 thousand of services. Our distribution
22 system operates at about 60 pounds. And I want
23 to talk a little bit about the seasonality issue
24 that was brought up around that. Because our
25 system is regulated down to a certain pressure

1 and leaks are dependent upon pressure, you could
2 pretty much, even with the winter or summer,
3 we're pretty much maintaining a 60-pound system
4 for the distribution network, and you get more
5 withdraw on the system during the winter, so it
6 probably is actually lower than 60 pounds during
7 the winter. I would say it doesn't fluctuate
8 enough to make much of a difference in terms of
9 seasonality on the distribution system because of
10 the maintaining of the constant pressure,
11 essentially. My anecdotal thoughts on that. We
12 have about 1,900 Regulator stations.

13 So in terms of how we manage our methane
14 and we really do try to collaborate with our
15 Regulators and especially the CPUC, working with
16 them to cost-effectively reduce our methane to
17 get the synergies between the safety aspects and
18 the coincidental environmental benefits. We have
19 right now a general rate case before the
20 Commission where we've asked them to accelerate
21 some of the replacement of the pipe that we know
22 needs to be replaced, such as the aldy1-AA, and
23 we have asked for also to help go after those
24 Code 3, those Grade 3 leaks, and to eliminate
25 that carryover every year because we don't have

1 the resources right now to go after all the
2 leaks. So we are asking to eliminate that so
3 that we don't carry those over every year by the
4 year 2018. So we've got that under the
5 Commission right now and we're hoping that we'll
6 get the money to go after those.

7 We also are funding a lot of research,
8 development and demonstration programs and
9 Francois went over a lot of those, and I'll touch
10 base on a few of those.

11 Because of the Pipeline Safety
12 Enhancement Project that we've got underway,
13 we're investing about a billion and a half
14 dollars in upgrading our system, hydrostatic
15 testing, but also replacing pipe. And we also
16 are expanding our pipeline information management
17 system, which I'll go a little bit more into.

18 We do a lot of partnering. We were part
19 of the distribution study with the Environmental
20 Defense Fund. We are part of the mapping study
21 that they talked about earlier. We have worked
22 with the California Energy Commission, California
23 Air Resources Board, Gas Technology Institute, we
24 are very active in helping figure out what the
25 answers are using science-based approaches.

1 We were part of the original EPA Natural
2 Gas STAR Program, we were one of the first
3 members to join that back in the early '90s, and
4 we institute a lot of the best management
5 practices, what we're talking about today, and
6 what Francois talked about. And just in the last
7 five years, those best management practices such
8 as eliminating high bleed pneumatics in our
9 meters and Reg stations to lower bleed or no
10 bleed, has eliminated about 360,000 metric tons
11 of CO₂ equivalent. So we're doing that and we've
12 done it for years, and one of the things we did
13 20 years ago is eliminate the cast iron pipe in
14 our system. So that's been out of our system for
15 a while. We do have about half of our system is
16 plastic, polyethylene plastic, we do have about
17 16 percent of unprotected still that we need to
18 go after, and the rest is protected, too.

19 We do have some new studies that do show
20 lower leak rates and it's primarily due to that
21 system of modernization I talked about. EDF
22 covered off a little bit on this when they talked
23 about the Washington State University study.
24 When we reported our emissions under AB 32 to
25 CARB and to EPA, we report using these 20-plus-

1 year-old emission factors. Washington State's
2 study was able to go out and look at 13 different
3 cities across the nation and our system was part
4 of that study and the results show significantly
5 lower emissions from the distribution system. A
6 lot of the meter and rec stations have been
7 upgraded, you know, since 20 years ago. And a
8 lot of the - there's been a lot of modernization
9 in terms of pipe replacement. Like I said, we've
10 replaced our cast iron system.

11 There is still a lot that we need to do
12 and the recent submittal of our 1371 Report, we
13 have top 10 emitters that I will go through in a
14 minute, and I'll talk about what we want to do
15 with those. But if you just substitute those new
16 emission factors for those two major categories
17 of potential leaks, the underground pipeline
18 leaks, and the meter and rec station, you get
19 down to a system-wide emission rate of about .12
20 percent, and that seems to be a common theme.
21 We're seeing that in our own internal engineering
22 studies and in 1371 that we just submitted, that
23 roughly about .12 percent is what we lose to the
24 atmosphere.

25 And what we've found is that, in the 1371

1 data, that two-thirds of that is unintentional,
2 you know, leaks, things like that, and about a
3 third of it is related to our actual system
4 operation, you know, maintenance, blowdowns and
5 purging.

6 The extent of hydro-testing that we're
7 doing, the purging that we have to do for pigging
8 in the Pipeline Safety Improvement Act, that
9 amounts to about I'd say six percent of that
10 number.

11 The dig-ins to our system is about eight
12 percent on average, and those are areas that we
13 know we need to go after to eliminate dig-ins,
14 that's a big area that we really want to go after
15 because it's not only disruptive from an
16 environmental standpoint, it's disruptive from a
17 safety standpoint, too.

18 Picarro has been a key technology that
19 we've been evaluating from a methane detection.
20 We've been using Picarro mainly in the high risk
21 areas where we have the adyl-A or we think we
22 have adyl-A pipe, we've been using it as a
23 screening tool to see if there's any excessive
24 leakage that's going on in those areas. We
25 consider it part of our portfolio of tools to

1 help manage the risk on the system, and so we're
2 looking at it as a good tool for us and also
3 we're looking at it in terms of the
4 quantification aspects that Francois talked
5 about. And there's other things we're looking
6 at, just our normal technology that we use to go
7 out and find the leaks on the system. There's
8 technologies that we can maybe correlate the
9 percent gas that we're finding to possible
10 quantification technology. So there may be some
11 simple very straightforward things that we can
12 integrate right into the work process and not
13 have to get too crazy on this fun new technology
14 that we're looking at.

15 The aerial surveys, you know, Francois
16 touched base about that. We're doing some
17 research on that using NYSEARCH which is a common
18 group that we use for helping us partner on
19 research projects.

20 We do have a technology plan that we
21 submitted as part of our pipeline safety
22 enhancement program that expands our use of
23 methane detectors and I'll talk about that a
24 little bit more, about where we'd want to put
25 them. There's still a lot of what I would call

1 more research that needs to be done to get the
2 detectors down to lower detection levels and make
3 it so that it's more commercially available, like
4 a smoke alarm or a carbon monoxide alarm. We're
5 also looking at fiber optic cabling along our
6 high pressure mainly pipelines, and for right of
7 way intrusion, that's a key area in terms of the
8 damage to our pipelines. And we're looking at
9 expanding our pipeline information management
10 system and our radio systems to collect some more
11 data.

12 So this is kind of the vision of it. The
13 2,100 methane detectors, we have committed to try
14 to put those near hospitals, sensitive areas
15 where folks may have problems evacuating. We're
16 looking at acoustic technologies in terms of
17 hearing the pipeline and hearing a leak. We're
18 looking at adding more cathodic protection
19 sensors, things like that, so we know if
20 something has gone out of compliance with our
21 cathodic protection. So just adding a lot more
22 pipeline information data that we could bring in
23 and start doing analytics on that data.

24 I think the most exciting thing for us is
25 that we're rolling out on the gas side our

1 advanced meter program. You know, this has been
2 out on the electric side for a while, but from
3 the gas side, this is fairly new to us. And
4 we've got nearly six million meters that are
5 going to be able to get hourly data downloaded
6 twice a day, I guess we're the only utility that
7 has that ability to download it twice a day. And
8 we're actually looking at analytics right now to
9 be able to look for patterns in that data. At
10 first we were just looking at it in terms of
11 billing, you know, because most people don't want
12 to get an excessive bill at the end of the month;
13 well, now we can catch excessive consumption
14 whether somebody left their barbecue on, or if
15 there's an actual leak, you can see it in the
16 pattern, in the consumption data.

17 We did some testing on about 50,000
18 residences where they had closed the account, you
19 know, because they were moving, and everything
20 should be shut off, and we found just a couple
21 leaks off of that, but what was really surprising
22 is we found water leaks on the water heater. So
23 there was excessive consumption of gas trying to
24 heat the new water that's coming in. And so it
25 didn't matter what was heating the water, you

1 just got excessive consumption and the water was
2 leaking out. So that was very interesting.

3 We're also looking at connecting sensors
4 within the home, carbon monoxide sensors, smoke
5 alarms, and methane sensors if we could get the
6 cost down to a consumer level, to our advanced
7 meter network, and throwing that data into the
8 advanced meter network and offering it back to
9 the consumer so they can check, you know, besides
10 just looking at consumption data. I think this
11 is very promising because it gives you good
12 instantaneous data and the consumer can get
13 alarms and things like that, so there's a lot of
14 good technology that's going on in terms of, you
15 know, after the meter, or on the meter type of
16 emissions.

17 We have developed some advanced tools to
18 look inside the pipeline, you know, we've done a
19 lot of things around the high pressure pipelines,
20 the steel pipelines, but we haven't really
21 addressed the smaller diameter pipelines and we
22 haven't addressed, I think, some type of
23 continuous monitoring, in situ monitoring of the
24 plastic pipelines. Something that is kind of
25 like your iRobot vacuum cleaner at home, you

1 know, that stays inside the pipe, it's maybe
2 nanoscale and it goes around and looks and tries
3 to see the integrity, then goes back and checks
4 in at some rechargeable spot, and then maybe
5 uploads the signal to the advanced meter network.
6 So that's kind of my vision, I've put that out to
7 ARPA in the conference a couple weeks ago, and to
8 who is going to come out with that next
9 technology. I'd like to find the leak before it
10 happens. I'd like to know the integrity of the
11 system before it happens. And I think we're
12 going to be there sooner than later.

13 One of the issues that keeps coming up is
14 about how you differentiate the methane that's
15 coming from these Top-down studies and Bottom-up
16 studies, and Los Angeles, you know, I've been in
17 this area for 20 years trying to differentiate
18 our leaks versus natural seepages for a while,
19 and what I've learned is that there's really only
20 two real indicators of natural gas from our
21 system, and that's our odorant. We have two
22 types of odorant that we use, it's called
23 tertiary butyl mercaptin and tetra
24 hydrothiophane, and those are really the only
25 signature tracer gases that are specific to our

1 system. Most of the methane that we see, a lot
2 of it is natural, it could be natural petrogenic,
3 and natural biogenic. And as we start adding new
4 sources, hopefully renewable biogas, onto our
5 system, the isotopic ratio is not going to really
6 help us and we're really going to have to rely on
7 something like our odorant that is very specific
8 to natural gas, and making sure people can smell
9 our product. So that's something that's a real
10 challenge I think for us as an industry.

11 So what we've learned is that the methane
12 emissions from our distribution sector have been
13 going down, they have been declining, and it's
14 really due to infrastructure modernization. We
15 do need to eliminate our backlogs, our carryovers
16 of grade 3. We estimate based on our 1371 data
17 that if we eliminate that carryover every year,
18 we could probably reduce about 16 percent of the
19 emissions. So that's something we really want to
20 go for, and stop having these backlogs, have
21 enough resources, and eventually integrate
22 quantification technologies into the process so
23 that we could prioritize based on the
24 quantification.

25 We do want to accelerate our pipe

1 replacements. You know, we know generally
2 speaking where our vulnerabilities are and the
3 type of pipe that we have in the ground,
4 unprotected steel, we want to get it either
5 protected or replace it. The adyl-A we want to
6 make sure it's not leaking, and if it has a
7 history of leaks, we want to replace it. So we
8 know where our vulnerabilities are, we have
9 extensive risk management programs around the
10 integrity of our system, and we want to
11 accelerate that, those programs.

12 We continue to want to partner to make
13 sure that we're finding the right issues and that
14 we're not wasting our resources on non-issues,
15 essentially, and we are very active in being part
16 of the solution on this issue as Dr. Fischer
17 mentioned, you know, methane is coming from all
18 different sources, unfortunately a lot of it is
19 coming from natural biogenic sources and
20 agriculture and waste, and we want to go after
21 that and we think we can.

22 Science-based approaches is what drives
23 us in terms of our decisions and then, of course,
24 the direct measurement study that came out from
25 Washington State University, I think, is a very

1 good study, it's the most comprehensive that
2 we've had, and it doubles the amount of samples
3 to reduce uncertainty, you get more samples,
4 that's one of the key things you do, and they've
5 doubled it. They've taken into account using
6 Monte Carlo statistical analysis that uncertainty
7 that we talked about. So I think the numbers are
8 really well done and very well researched. And I
9 think we need to rely on that as a good study
10 that's solid, that helps us point to the right
11 areas to focus in on. Next slide.

12 This is just a repeat, we know that
13 roughly about 80-85 percent of the methane is
14 coming from the landfills, the wastewater, the
15 cows, the farms, so we want to really go after
16 that.

17 Our system is basically a pipeline system
18 that can go over that, you know, we can take that
19 anaerobic digester gas and move it into our
20 system, make it pipeline quality, and if we're
21 using it for transportation, it's a negative
22 carbon intensity. I mean, this is a huge
23 opportunity for us.

24 We do have some partnerships with Scripps
25 on looking even at the combustion source of

1 carbon dioxide, NO_x, and using algae to reduce
2 that and make it back into biomethane. Next.

3 We're looking at our system as a way to
4 store renewable energy. When the wind doesn't
5 blow, the sun doesn't shine, what happens? You
6 know, what do we do with that gap? And if we
7 don't have the demand for the electricity during
8 when the wind blows, what do we do with that
9 excess electricity? So Germany has figured that
10 out and they have a concept called the Power to
11 Gas Concept, where they take that excess
12 electricity and they use electrolysis to split
13 the water and make it into hydrogen and oxygen,
14 and use that hydrogen either directly insert it
15 into their distribution system, a small amount
16 they're able to be directly inserted into the
17 distribution system, and we're looking at that
18 and seeing how resilient our system would be to
19 that. And we're also looking at re-methanizing
20 it with Biogas CO₂ and/or other type of CO₂
21 sources, and making it into renewable methane
22 back into the system. Next.

23 And people say, "Is this pie in the sky?"
24 "No, it's not pie in the sky. Germany is doing
25 it, and if Germany is doing it, we can do it,

1 right? We're the United States." So we could do
2 this. They've actually got a lot of I think
3 about up to two dozen plants that they're putting
4 in, and they've already put in two, so we know
5 they're already doing it, it's happening, it's
6 not pie in the sky, this is happening in Germany
7 today.

8 We're also looking at using natural gas
9 to strip off the hydrogen and using it in
10 hydrogen fuel cells for cars.

11 And we're working with University of
12 Irvine to basically look at a study of how we
13 would integrate the commercial power to gas
14 storage and into our system, so we're looking at
15 that now.

16 Ultimately, you know, we need to think
17 bigger, we can't pick winners, we need to think,
18 you know, this is like an ecosystem and we can't
19 choose one over the other, we have to be broad
20 and what we know today may not be what we know
21 tomorrow, and we're a very innovative country,
22 we're very innovative people, we can solve this.
23 And this is something that's very solvable and we
24 need to look across the whole energy system to do
25 this. Thank you.

1 CHAIRMAN WEISENMILLER: Thank you. So a
2 couple questions. One of them is, I'm trying to
3 understand how much money in total are you
4 spending now on leakage issues?

5 MS. HAINES: I don't have that number off
6 the top of my head. I know that the amount of
7 gas that we lose every year is about a tenth of
8 our throughput, and that's worth about, depending
9 on the price of gas, \$3-5 million a year.

10 CHAIRMAN WEISENMILLER: Yeah, we talked
11 about this this morning, on the one hand you have
12 the Leno bill on implementation at the PUC, on
13 the other end you have general rate cases which
14 yours is ongoing right now, I assume PG&E will go
15 back on the revenue requirement, and I don't know
16 if it's next year or the following year, and the
17 rate cases are where the rubber really hits the
18 road on this is the amount of money you get, and
19 so I'm trying to make the connection between this
20 sort of doing the studies, but at the same time I
21 think all of us will be happier just to start
22 getting something in place. So certainly trying
23 to get an understanding of how much money are we
24 talking about, either now or in terms of what the
25 requests are, and I think getting that for our

1 record would certainly help put this in
2 perspective.

3 MS. HAINES: And we could probably cycle
4 back with CPUC and get those numbers back to you.

5 CHAIRMAN WEISENMILLER: That would be
6 good. And I think the other question is that at
7 one point SoCal Gas did a lot with seismic cutoff
8 valves --

9 MS. HAINES: The Excess Flow?

10 CHAIRMAN WEISENMILLER: Yeah. I don't
11 know where, but if I recall correctly, that just
12 sort of died at some stage, but certainly in
13 trying to understand again what seismically
14 active area and basically going forward, one of
15 the things where we could have sort of major
16 leakage is if you have a seismic event.

17 MS. HAINES: Yeah. I could circle back
18 with our person in charge of that. I know
19 there's been a lot installed of excess flow
20 valves, and they would shut off after a certain
21 -- and I understand there are sensors that you
22 can measure the tilt, that we might be able to
23 put on the meter and, again, use that sensor to
24 throat through our advanced meter network in case
25 it tilts too much and we know that it could cause

1 too much strain on the components, on the meter
2 set assembly, and so there's a lot of things we
3 could do now to help make sure that something
4 doesn't happen after an earthquake.

5 CHAIRMAN WEISENMILLER: Yeah, again, I
6 was just thinking the Bay Area, earthquakes there
7 and fires, you know, often it's not unusual to
8 look around and just see the gas system still
9 going on, you know, after the disaster.

10 MS. HAINES: Yeah.

11 CHAIRMAN WEISENMILLER: And that would be
12 the other part to try to pin down. But I think,
13 you know, also certainly on the power to gas
14 side, because I've visited 50 percent of the
15 German facilities, but there were certainly much
16 more engineering demonstrations. I was afraid to
17 ask what the cost was, just given they certainly
18 were just trying to get them up, so that's one of
19 the things we'll need to understand better
20 ultimately is the cost.

21 MS. HAINES: Yes.

22 CHAIRMAN WEISENMILLER: I think you've
23 hit my questions.

24 MR. STOMS: Okay, I'll hand it back to
25 Heather, then, for the Public Comment period.

1 MS. RAITT: Okay, so we'll just go into
2 public comment and if folks in the room, I don't
3 have any blue cards, but there's somebody in the
4 room who had a question, if you could come up to
5 the center microphone? And just please identify
6 yourself and --

7 MS. SMITH: Hi, thank you. I'm Allison
8 Smith with SoCal Gas. And we appreciate the
9 effort that you're making with looking at the
10 fugitive emissions from the distribution system.
11 I did want to make a couple of comments, one is
12 we think that there's a great opportunity on the
13 goods movement side, as you had mentioned
14 earlier, and in Southern California that's a very
15 big challenge. And there have been a couple of
16 studies, the EDF Wheels-to-Wheels, and the U.C.
17 Davis Wheels to Wheels study, that suggested very
18 little benefit from natural gas vehicles on a GHG
19 perspective. And as you mentioned, there are
20 criteria pollutant benefits, but we also think
21 that there are significant GHG benefits. When
22 they looked at the studies, they've been using
23 some of the older data, some of the great model
24 data that actually has a very low CI for diesel;
25 when ARB updated the LCFS data, they increased

1 the carbon intensity of diesel by 10 percent. So
2 we will think that there's at least a 15 percent
3 advantage to natural gas, conventional natural
4 gas over diesel. And so we think it's important
5 in considering that when you look at the overall
6 benefit that you update both the diesel side and
7 the natural gas side.

8 I also wanted to mention, as you said
9 earlier, the abandoned wells issue in Southern
10 California and in other parts of the state, is
11 also a significant issue and we've heard a lot of
12 talk about looking at the distribution system,
13 but we'd like to see more research on some of
14 those other sources and how we can identify those
15 and mitigate those, so we'd encourage looking
16 more at those sources, as well, so that we can
17 get a better handle on aligning the Top-down and
18 Bottom-up approaches, and recognizing the other
19 sources of emissions.

20 CHAIRMAN WEISENMILLER: Actually, I was
21 wondering, you know, certainly on basically the
22 goods movement question, you know, my impression
23 from SoCal was there is at least some potential
24 technology or manufacturers that could really
25 help address this efficiency question. I don't

1 know if you want to talk about that some, or
2 provide some of that information for our record.

3 MS. SMITH: I can actually follow-up with
4 Jeffrey from our company to find out about the
5 fuel efficiency.

6 CHAIRMAN WEISENMILLER: right.

7 MS. SMITH: I think the improvements that
8 they're looking at for diesel trucks, you'd see
9 those also carry over to natural gas trucks, and
10 so I do think that we'll see some narrowing of
11 that difference between diesel and natural gas
12 trucks, but in terms of more recent data, I'm
13 going to have to talk to Jeffrey to see if I can
14 get some more information for you.

15 CHAIRMAN WEISENMILLER: And do you have
16 any sense of the question I'd asked about the
17 comparison between FERC, or at least proposed
18 FERC standards, and the PUC for the
19 backbone/transmission systems?

20 MS. SMITH: I'm actually going to have to
21 follow-up on that, I made a note to look into
22 that because I'm not aware of a significant push
23 on the FERC side for the GHG emissions, but I'll
24 check into it.

25 CHAIRMAN WEISENMILLER: Okay, good.

1 Thank you.

2 MS. RAITT: Go ahead.

3 MR. KINNEY: Hi, good afternoon, Chairman.
4 My name is Ryan Kinney. I work for Clean Energy.
5 We're the nation's largest provider of natural
6 gas transportation fuels. And just a couple
7 quick comments. We do appreciate having this
8 workshop, obviously it's very important to inform
9 public policy moving forward, and we have a lot
10 of the same questions for our industry as many of
11 the other industries do here today.

12 As far as natural gas, renewable natural
13 gas, we'd love to have a seat at the table moving
14 forward, have a more prominent role and join
15 other stakeholders in working on this moving
16 forward. I would also like to see the CEC hold
17 as much focus on the increase in renewables as it
18 is on methane leakage, while we think that's a
19 very important step to take in conjunction with
20 this. And also, we're of course working very
21 hard with the ARB staff on the LCFS and methane
22 leakage is a very important topic right now in
23 trying to inform the GREET model. So the Argon
24 National Laboratory model titled "The GREET Model
25 Expansion for Well to Wheels Analysis of Heavy

1 Duty Vehicles obviously would fill major gaps in
2 that and we hope to see that incorporated. In
3 fact, I think staff right now is looking to have
4 a yellow sale even after authorization in July,
5 so we're looking to have those conversations
6 ongoing.

7 Also, the ARB is incorporating a short-
8 lived climate pollutants concept paper at the
9 moment I'm sure, as you know, and they're looking
10 at research funding and we'd like to see them of
11 course pick a focus on methane leakage, as well,
12 within their menu of other things they're looking
13 at. So again, I think our industry would be very
14 keen to work with the CEC as a stakeholder in the
15 process moving forward. Thank you.

16 CHAIRMAN WEISENMILLER: That's great.
17 I'd also call for people where there's a
18 sustainable freight transportation initiative
19 coming up, we'd certainly encourage people to
20 participate in that, and that's more ARB than
21 here.

22 MR. MAGEE: Hi. I'm Chuck Magee with the
23 California Public Utilities Commission. And I
24 was intrigued with Diana's observation about the
25 Smart Meters and being able to detect water leaks

1 at the water meters -- or not water meters, I
2 mean the water heaters. And so the Smart Meters,
3 I think, have a benefit that we're going to
4 continue to find as we develop algorithms to
5 analyze usage and I was wondering if there was
6 also an algorithm so that you could maybe come up
7 with an algorithm to find water leaks at the
8 active accounts, not just the accounts that have
9 been closed. And also leaking gas appliances
10 downstream of the meter, I understand that water
11 heaters can leak gas and it goes out the vent,
12 and the utility wouldn't necessarily find that in
13 a leak survey, especially older houses that have
14 leakier appliances. So I was wondering if
15 there's more work we can do in that area with
16 coming up with algorithms using Smart Gas Meters
17 and probably Smart Electric Meters.

18 CHAIRMAN WEISENMILLER: I was going to
19 encourage both of the utilities to comment on
20 your question.

21 MS. HAINES: I think that's a great idea
22 and we are looking at using methane sensors right
23 now, and hooking that with our advanced meters
24 and seeing how low we can go in terms of the
25 consumption data, but we don't have the money

1 right now to go further on that, and we really
2 do, we need to get some research funding for that
3 and that's where we'd love to work with
4 California Energy Commission and anybody who
5 wants to put in some money to help us expand
6 that.

7 MR. RONGERE: Yes, Chuck. My comment
8 would be the same. I would love to look at that
9 more. I think there are a lot of opportunities
10 there. We are just scratching the surface of
11 what we can do with the Smart Meters. There are
12 also some limitations, either the technologies to
13 our smart meters, so we cannot do everything we
14 would like, but we are working actively on trying
15 to extract as much as we can in terms of
16 information from our Smart Meter data. So it's a
17 work that we are doing, we would like to do even
18 more than that.

19 MR. MAGEE: Thanks.

20 CHAIRMAN WEISENMILLER: Well, I was going
21 to say that Laurie ten Hope isn't here, but Mike
22 Gravely is here and, again, as we go through on
23 the PIER Gas R&D activity, one of the things we
24 really look for is public input on that, and
25 unfortunately often we get the researcher coming

1 in saying I do great work, give me more money,
2 and it's good to have that sort of more policy
3 driven analysis saying we really need work on,
4 say, algorithms, or we need work in this area,
5 that we can then have the researchers compete on
6 who can do the best job there. Mike? Please.

7 MR. GRAVELY: For the WebEx, this is Mike
8 Gravely from the R&D Division. I'd just point
9 out in the written questions, when we do safety
10 research we typically are very cautious not to
11 duplicate the work that you're doing, so if you
12 can make recommendations of areas, particularly
13 in the safety area, if you can make
14 recommendations of areas you think the research
15 would be valuable, and obviously if you make
16 recommendations we're not duplicating your work,
17 but one of the challenges we have in the safety
18 area is we have to be cautious that we don't in
19 effect vest in something you are already
20 investing in. So we would welcome your advice
21 and recommendations for us as we do future plans,
22 it would help us understand better how we could
23 do research in the safety area that would deflect
24 with the work the utilities are doing or planning
25 on doing.

1 CHAIRMAN WEISENMILLER: Yeah. I guess we
2 should both flag that, for our next Investment
3 Plan in this area, the PUC has a draft decision
4 which would direct us to shift more into climate
5 and the safety issues, and also put in some of
6 the money which was unspent. So I think we're
7 going to be - I forget the precise timeframe we
8 were directed, but assuming the decision goes
9 out, we're going to go back and make adjustments
10 to increase research in those areas.

11 MR. GRAVELY: Yes, sir. The draft
12 decision, if it were approved, it recommends we
13 do an updated proposed budget in 90 days to
14 include those three topics, climate change,
15 safety, and the pipeline.

16 CHAIRMAN WEISENMILLER: Yeah, it might
17 make sense, Mike, to post our old investment
18 plans so that people can look at which -- we're
19 going to be adjusting, but anyway it gives them
20 at least a baseline to look at some of the areas
21 we're going to try to enhance.

22 MR. GRAVELY: We will, but we don't
23 typically post it to the PUC, so they'll approve
24 the plan with decisions, so after July when
25 they've approved a plan, we'll post it and then

1 of course we'll work whatever they direct us to
2 work, or any changes we'll make. But we post a
3 plan after they approve it and we expect approval
4 by the end of June.

5 CHAIRMAN WEISENMILLER: That's good.

6 MS. RAITT: Okay, anyone else in the room
7 who would like to make a comment? No. And I
8 don't think we have anyone on WebEx, but there
9 is, if you're on the phone line and you wanted to
10 make a comment, we'll go ahead and open the line.
11 And if you didn't want to make a comment, please
12 mute your line. Okay, I think we're done with
13 public comments.

14 CHAIRMAN WEISENMILLER: Okay, I want to
15 thank people for their participation today. You
16 go through written comments, go through that
17 part.

18 MS. RAITT: All right, yeah, just to say
19 that written comments are due June 15th and
20 written here is the information for how to do
21 comments, and it's also in the notice which is
22 available on hard copy at the entrance and
23 online.

24 CHAIRMAN WEISENMILLER: So again, we
25 encourage people to submit written comments,

1 certainly, I'm particularly interested in sort of
2 what are the major areas of uncertainty or
3 potential focus we should have on the R&D side.
4 And just basically what next steps, particularly
5 in terms of research priorities. So again,
6 thanks for your participation and this meeting is
7 adjourned.

8

9 (Whereupon, at 3:02 p.m., the workshop was
10 adjourned.)

11 -o0o-

12

13

14

15

16

17

18

19

20

21

22

23

24


25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 17th day of June, 2015.



A handwritten signature in cursive script, appearing to read "Kent Odell", is written over a horizontal line.


Kent Odell
CER**00548

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 17th day of June, 2015.



Karen Cutler
Certified Transcriber
AAERT No. CET**D-723