

DOCKETED

Docket Number:	15-IEPR-05
Project Title:	Energy Efficiency
TN #:	205368
Document Title:	Transcript of the June 18, 2015 Workshop on Plug Load Efficiency
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	7/16/2015 1:36:53 PM
Docketed Date:	7/16/2015

CALIFORNIA ENERGY COMMISSION

STAFF WORKSHOP

In the Matter of:)	Docket No.
)	15-IEPR-05
IEPR Staff Workshop on)	
Plug Load)	
_____)	

CALIFORNIA ENERGY COMMISSION

1516 NINTH STREET, FIRST FLOOR

ART ROSENFELD HEARING ROOM

SACRAMENTO, CALIFORNIA

THURSDAY, JUNE 18, 2015

1:00 P.M.

Reported By: Peter Petty

APPEARANCES

Commissioners Present

Andrew McAllister, IEPR Lead Commissioner

Staff Present

Heather Raitt, IEPR Program Manager

Ken Rider, CEC Appliances and Existing Buildings Office
Efficiency Division

Bradley Meister, CEC Energy Efficiency Research Office
Energy Research & Development Division,

Tom Gorin, CEC Energy Assessments Division

Bill Pennington, CEC ED Administration

Martha Brook, Appliances & Existing Buildings Office

Sean Steffensen, CEC Appliances and Existing Buildings
Office Efficiency Division

Panel Presenters (* Via telephone and/or WebEx)

Chris Calwell, Ecos Research

Katharine Kaplan, ENERGY STAR

Ken Rider, California Energy Commission

Brad Meister, California Energy Commission

Tom Gorin, California Energy Commission

Vojin Zivojnovic, AGGIOS

Joy Pixley, UC Irvine Plug Load Center

Tony Brunello, Greentech Leadership Group

APPEARANCES (Cont.)

Panel Presenters (Cont.)

Pierre Delforge, NRDC

Rish Ghatikar, Greenlots; LBNL
Association

Alan Meier, LBNL

Peter Franzese,
California Public Utilities Commission

Kevin Messner, Association of Home
Appliance Manufacturers

Julie Colvin, PG&E

*Heather Larson, StopWaste (via WebEx)

I N D E X

	<u>Page</u>
Introduction	
Heather Raitt, IEPR Program Manager	6
Opening Comments	
Andrew McAllister, IEPR Lead Commissioner	15
Status of Plug-Load Efforts	
Chris Calwell, Ecos Research	7
Katharine Kaplan, ENERGY STAR	32
Ken Rider, California Energy Commission	18
Brad Meister, California Energy Commission	25
Tom Gorin, California Energy Commission	42
Plug Load Standards Development (moderated by Ken Rider)	
Vojin Zivojnovic, AGGIOS	52
Joy Pixley, UC Irvine Plug Load Center	68
Tony Brunello, Greentech Leadership Group	78
Pierre Delforge, NRDC	85

I N D E X (Cont.)

	<u>Page</u>
Other Tools and Strategies (moderated by Sean Steffensen)	
Rish Ghatikar, Greenlots; LBNL Association	117
Alan Meier, LBNL	135
Peter Franzese, California Public Utilities Commission	143
Kevin Messner, Association of Home Appliance Manufacturers	150
Julie Colvin, PG&E	161
Heather Larson, StopWaste (via WebEx)	169
Public Comments	---
Adjourn	183
Court Reporter's Certification	184
Transcriber's Certification	185

1 P R O C E E D I N G S

2 JUNE 18, 2015

1:07 P.M.

3 MS. RAITT: Welcome to today's IEPR Staff
4 Workshop on Plug Load Efficiency. I'm Heather Raitt, the
5 Manager for the IEPR.

6 I'll go over a few housekeeping items. Restrooms
7 are in the atrium, a snack room is on the second floor. If
8 there's an emergency and we need to evacuate the building
9 please follow staff to Roosevelt Park, which is across the
10 street diagonal to the building.

11 Today's workshop is being broadcast through our
12 WebEx conferencing system and parties should be aware that
13 you are being recorded. We'll post an audio recording on
14 the Energy Commission's website in a few days and a written
15 transcript in about a month.

16 At the end of the day there will be an
17 opportunity for public comments. We're asking folks to
18 limit their comments to three minutes.

19 For those in the room who would like to make
20 comments please fill out a blue card and give it to me.
21 When it's your turn to speak, please come to the center
22 podium and speak into the microphone. It's also helpful if
23 you can give the court reporter your business card.

24 For WebEx participants you can use our chat
25 function to tell our WebEx Coordinator that you'd like to

1 make a comment during the public comment period. And we'll
2 either relay your comment or open your line at the
3 appropriate time.

4 For phone-in only participants we'll open your
5 lines after hearing from the in-person and WebEx comments.

6 If you haven't already, please go ahead and sign
7 in at the entrance to the hearing room. Materials for the
8 meeting are available on the website and hard copies are on
9 the table at the entrance to the hearing room.

10 Written comments on today's topics are welcome
11 and due on July 2nd. The workshop notice explains the
12 process for filing comments.

13 And Commissioner McAllister is on his way, but he
14 sends his regrets. He's a few minutes behind and so we can
15 go ahead and get started.

16 So our first panel is on Status of Plug Load
17 Efforts and our first speaker is Chris Calwell from Ecos
18 Research.

19 MR. CALWELL: Hello and thanks for the
20 opportunity to share some thoughts with you today.

21 I wanted to frame the plug load opportunity, if I
22 could, as very much linked to the climate challenge we all
23 face. And so I'll start here with a chart from the Energy
24 Information Administration. And part of what you see here
25 is that in the last few decades of work on the climate

1 issue nationally you see absolute emissions of CO2 here and
2 annual percentage change here. The greatest success that's
3 been achieved nationally in reducing greenhouse gas
4 emissions was in the year 2009, when we as a country
5 reduced our emissions by 7 percent. I think the daunting
6 challenge we face is that in order to get to the 80 percent
7 reductions that scientists tell us we need we would have to
8 do that degree reduction 22 years in a row. So this is the
9 opposite of compound growth, these are compound reductions
10 and they're very difficult to achieve.

11 And so having that challenge squarely in front of
12 us, it's then interesting to look a little more at how you
13 might get there. The U.S. Department of Energy divides the
14 challenge of reducing greenhouse gas emissions into four
15 separate components: population growth, economic output per
16 person, energy intensity per unit of economic output and
17 carbon intensity per unit of energy.

18 And so what you see here is that in each of the
19 last 12 years or so population growth typically occurs at
20 about 1 percent or more. Economic growth occurs at about 1
21 to 3 percent per year. And so the other two factors:
22 energy intensity and carbon intensity have to drop by even
23 more than the first two are rising just to break even. And
24 if you want to get significantly below that you need to
25 have dramatic improvements in energy efficiency and in

1 carbon intensity. And only in a few years have we done so.
2 ZNE of course drives both the energy intensity and carbon
3 intensity issues.

4 So my own personal response to that challenge was
5 to embark on the design and construction of a ZNE home.
6 This is my house in Durango, Colorado. And it takes a
7 series of fairly radical design steps, as we all know, to
8 get there. the building was very, very carefully designed
9 from an HVAC standpoint, windows, building orientation, PV,
10 all of these measures to try to make the building as
11 efficient as possible.

12 And similar to what NREL found when they took
13 undertook this exercise in Colorado, it's not hard to bring
14 the energy use of a carefully designed house down by
15 perhaps 50 or 60 or 70 percent and then meet the remainder
16 with PV. The challenge is that putting that much PV on a
17 house is expensive and typically what you do is you get a
18 lot of reduction in water heating, quite a bit in space
19 heating, quite a bit in lighting. But the appliance and
20 plug loads portion, which you see here in blue, often only
21 drops a small amount and then becomes a majority of the
22 rest.

23 And so I've come to the conclusion in the classes
24 that I teach for California utilities on the subject that
25 ZNE is not really reachable by focusing only on the

1 building. Plug loads dominate, because the user is the
2 chooser. It sounds glib, but basically the user of the
3 stuff in the building is choosing what to buy, they're
4 choosing which tasks to use those things for, and they're
5 choosing whether or not to operate those devices
6 efficiently.

7 And I think, ironically, the more sophisticated
8 the energy using technology gets in our homes and
9 businesses, the more the energy consumption of it is driven
10 by occupant behavior. You would think it would be the
11 other way around, but the technology enables the user to
12 use it in so many different ways that it's no longer
13 predictable and it no longer behaves like it did on a
14 government test procedure.

15 So obviously some things that can help are web-
16 based tools. This is a screenshot of a website called
17 enervee.com. I know PG&E and others have begun using this
18 to help their customers find the most efficient products.
19 And to compare their purchase cost and their energy cost to
20 see which would save them the most money over time.

21 So then you get to the inside of a house. This
22 is the kitchen of the ZNE house I showed you before. And
23 obviously you can stock it with all the energy efficient
24 appliances you can find. And hopefully, that will bring
25 your energy use down to the point where you can meet the

1 remainder with solar. What I finally confronted in this
2 process, and I promise this is the only equation I'll show
3 you today, is that there are far too many factors beyond
4 efficiency that govern whether you, in the end, reduce
5 emissions. And so here you have emissions on the left, of
6 greenhouse gas emissions. There's population, which we
7 talked about before. There's the number of devices each
8 person buys.

9 And I would say the State of California has been
10 largely silent on that question. You can't control
11 acquisitiveness through standards and you really can't
12 control it through incentive programs either, unless you
13 pay an incentive to get people to retire the old device.

14 There is the level of luxury that each device
15 has. That also we're largely silent on in our programs,
16 but it drives emissions upward. We tend not to do that
17 much about the usage of products per year except with
18 motion sensors and smart plug strips and so forth, but it
19 absolutely drives emissions. The state has been very
20 successful in focusing on carbon intensity.

21 We do pay attention to the efficiency of products
22 on test procedures, but I would argue that we assume
23 incorrectly that however much energy they use on the test
24 procedure is what they actually use. And they never do.
25 And so we need to make our test procedures as realistic and

1 representative as possible. And then we have to be
2 prepared to adjust those results with a field adjustment to
3 account for the difference between how they behave in the
4 lab and how they behave in the field. And then lastly, we
5 need to account for the fact that they degrade or improve
6 over time as they age and as they get software updates.

7 There are a couple of other factors there about
8 the manufacturing and transport end of life emissions and
9 the lifetime of the product, which are also important.

10 So why do these differences between test
11 procedures and field data arise? There are a variety of
12 reasons here. I won't go through them all, but at least in
13 the kind of plug loads we're dealing with it's not
14 surprising that computers can get extra software and
15 capabilities in the field or be connected to other
16 peripherals. And it's not surprising that TVs will behave
17 differently as the room lighting changes or as the user
18 presses different buttons on the remote to change the mode
19 it's in.

20 My colleague, Rubin Dumling, found this result
21 from looking at refrigerators in the field. And I think
22 it's instructive. The blue line is what the refrigerators
23 used when they were new in the laboratory. All the green
24 squares tell you what those old fridges used when he went
25 back to a house to measure them. And on average they were

1 using 23 percent more than they did when they were new.
2 The red triangles tell you how much energy those fridges
3 used when he took them out of the house, took them to a lab
4 and measured them again. Now they were using 42 percent
5 more than they did when they were new, so it's a big deal
6 to account for the difference between lab and field energy
7 use.

8 This is some work from our colleagues at NRDC and
9 their consultants showing that likewise with computers you
10 can see 13 to 35 percent greater energy use in the real
11 world than would be predicted by test procedures.

12 I've begun doing some recent research on TVs.
13 The new televisions obviously are extraordinarily
14 compelling and beautiful and I think will draw a lot of new
15 buyers. These OLED TVs in particular are so vivid and
16 realistic that if you didn't see the edges of the screen
17 and the label in the corner you might think you were
18 looking at an actual photo of this item rather than a photo
19 of the item on a TV screen. But we should all be prepared
20 for higher energy use as we start to learn the different
21 things that people can do with TVs that we're not measuring
22 in the lab today.

23 I wanted to also encourage the state to think
24 about a relatively new idea that Dian Grueneich's
25 highlighted in her recent "Next Level of Efficiency"

1 Report. It's the notion that products should automatically
2 measure and report their own energy consumption in real
3 time. LBNL has showed some prototypes. There's a
4 California company called Enlighted that has incorporated
5 this kind of technology into their lighting system. And if
6 the device tells you automatically how much energy it was
7 using and therefore how much energy it is saving over time,
8 we could potentially save a decent chunk of the \$40 million
9 a year the state now spends to evaluate and measure and
10 verify the energy savings it is getting from utility
11 programs.

12 I think the final frontier here is power scaling
13 in plug loads and we'd like to get electronic products to
14 do a better job of scaling their power use to how hard
15 they're working. For example, a lot of different products
16 can stream a movie, but they use very different amounts of
17 power to do so. These are some measurements we made in our
18 lab a few years ago and what you see is just to stream the
19 same clip on Netflix products can use anywhere from 94
20 watts to 1.7 watts just because it's a very different
21 device that's either better or worse at that function.

22 I wanted to close by sharing a slide that comes
23 from the talks I give to ZNE builders, architects and
24 engineers for the California utilities. And here I was
25 asked to essentially sum up everything we could save. If

1 you had a traditional house with ENERGY STAR stuff in it,
2 and instead you went to the most efficient set of products
3 in each case, how much of the plug loads could you reduce?
4 I won't go through all the details here, but by these
5 calculations what started out for plug loads and lighting
6 at 6,600 kilowatt hours a year, becomes when you're done
7 optimizing around 2,090. It's a savings of 68 percent, but
8 more importantly it means that 10 to 12 of the solar panels
9 you would have needed for the roof to make the house ZNE
10 are no longer needed. And I can assure you the extra solar
11 panels, racking inverter and labor cost a lot more than the
12 extra cost of the efficiency products.

13 So there's much we can do to achieve ZNE and I
14 look forward to participating in the process. Thank you.

15 COMMISSIONER MCALLISTER: Thanks a lot, Chris.

16 I want to apologize for being late. I've been
17 looking at your slides trying to catch up, but that's a 2kw
18 system. That 2,090, roughly, I mean not even actually, but
19 it depends on where you are I guess.

20 MR. CALWELL: Yeah. Yeah, it's actually a little
21 less than that.

22 COMMISSIONER MCALLISTER: Yeah, very cool. Thank
23 you.

24 So I'll make some opening comments. Just that's
25 a great preamble. And my name's Andrew McAllister, I'm a

1 Commissioner here over Energy Efficiency. And I want to
2 just thank the staff, certainly the IEPR staff as usual who
3 really does a great job of keeping the trains running and
4 organizing workshop after workshop. So thanks Heather and
5 team on that. And then our staff as well, Ken and the
6 Appliances staff: Kristen, I see Bill and some other staff
7 in the room.

8 And we are all incredibly interested in this
9 topic, because as Chris just laid out the plug loads are
10 kind of the frontier that we need to unpack and figure out
11 what our policy options are. We've got to make progress on
12 this and it's a diffuse, diverse, large number of items out
13 there that add up to a lot of energy consumption. So it's
14 a very different than HVAC or windows or lighting even.
15 There's so much proliferation of technology that's
16 incredibly compelling and beautiful and makes our lives
17 better, but has a lot of implications for where we're
18 trying to go on the energy front. So we're going to need
19 new program models to get this -- to crack this nut.

20 I guess I did have a question, was that a
21 retrofit application that you just showed or was that a
22 sort of design from the ground up based on your experience
23 in a new construction environment; that last slide?

24 MR. CALWELL: Yeah, thank you for the question.

25 We have taught classes on ZNE for both new

1 construction and retrofit. And you'll see if you look
2 through the list almost everything on the list is something
3 the user brings with them. So it's arguably slighter
4 harder to do in retrofit, because of the lighting piece.
5 Some of the fixtures, as you know from California Code, are
6 hardwired. But the vast majority of the lighting in a
7 house is from what you screw in or plug in. And all the
8 rest of the things are absolutely brought by the occupant
9 to the house.

10 COMMISSIONER MCALLISTER: Right, okay.

11 MR. CALWELL: So the answer is for the most part
12 is it applies to both.

13 COMMISSIONER MCALLISTER: I had an interesting
14 experience where over the last couple of years I've been
15 retrofitting my house, getting the consumption down. I'm
16 sort of midway between the good house and the very good
17 house that you have in your thing there. And I just got
18 solar and 3kw is it, right? I'm netted out, all the time
19 of use issues notwithstanding, right?

20 But I had a cable guy at my house and he said --
21 the third-party contractors -- that set-top box ecosystem
22 with the cable -- the provider and then the equipment kind
23 of come from different sources and the user has very little
24 -- they're very opaque. But the contractor who came to
25 check my line said, "You know, have you thought about going

1 out and buying your own modem? Because you're paying --"
2 Most people pay the eight bucks or ten bucks a month for
3 the modem, but they actually have better options out there
4 in the marketplace. So if they want to just make a little
5 investment they could actually save a lot of energy doing
6 that too instead of leaving it up to the company to assign
7 you one. So for example, that's an actionable pathway for
8 one of these items on your table. So I just want to invite
9 people to think about those kinds of options going forward.

10 In any case, this is not my platform. This is
11 the presenters and I want to just make sure that the
12 workshop can move and we can really start talking about
13 solutions. I really invite people to think creatively
14 about this. What the program environment might look like
15 to get at some of these solutions and what the marketplace
16 might do, you know, either with program involvement or just
17 on its own if it were structured right. So let's move
18 forward.

19 So thanks a lot, Chris. I really appreciate your
20 being here. I know it's not easy to come all the way out
21 here, so appreciate it.

22 MS. RAITT: Okay. Our next speaker is Katharine
23 Kaplan, but we're having a little trouble getting her on
24 WebEx. So we'll just come back to her and move on to Ken
25 Rider right now, thanks.

1 MR. RIDER: Great, so I'm going to talk about one
2 of the oldest tools in the box, but a very effective tool
3 in the box and that is Minimum Efficiency Standards for
4 Plug Loads.

5 So California, its very first standard ever set
6 on appliances, was on a plug load -- was on refrigerators
7 back in 1976. And it was the first appliance efficiency
8 standard in the whole United States. Since then we've
9 continued to set more and more standards with recent
10 examples including televisions and battery charger systems.
11 And we're continuing to work on even further plug load
12 standards. For example, right now we're working on
13 computers and monitors.

14 And one important thing is these standards have
15 been extremely effective at slowing the growth of plug load
16 use. And so this is a classic graph. Many of you have
17 maybe seen this before. The red line here on the graph is
18 the size of refrigerators over time getting bigger. The
19 blue line is the U.S. average energy use of the
20 refrigerator. It was going up quite a bit in the early
21 '70s and that green line is the price, adjusted price of a
22 refrigerator over time.

23 And what you can see is that this is the plug
24 load that in the '70s was kind of going out of control. It
25 was really causing a lot of growth in electricity use. And

1 when California set standards, and then later followed by a
2 slew of federal standards as well, you can see that that
3 consumption really took a nosedive. And so standards were
4 a very effective tool for this particular plug load in
5 driving down energy use. And the great thing is, is not
6 only did it drive down the use, but at the same time the
7 size got bigger and the products got cheaper.

8 So appliance efficiency standards are very good
9 at achieving market transformation. Mainly because covered
10 products, just simply they must comply with the minimum
11 efficiency levels in order to be sold at all in California.
12 It achieves very close to full market adoption and because
13 as Chris was saying people bring their stuff with them it
14 extends to retrofits just as much as it does new
15 construction. And you get the savings through natural
16 product replacement.

17 It also yields benefits outside of the state if
18 you're looking at a greenhouse gas perspective. The
19 regulations often tend to change the market and then entire
20 North America and market and sometimes global market.

21 All right, here's another example of a plug load
22 being regulated, which is televisions. And this you can
23 see, is not just program activity from the Energy
24 Commission, but also program activity from ENERGY STAR on
25 this one and the IOU rebates. And you can see all these

1 programs, really just tons of different actions being taken
2 over just less than a decade. And really just the
3 television energy consumption similar to what we saw in
4 refrigerators going down quite a bit.

5 So this is a 50-inch television and you can see
6 back in 2007 they were using over 350 watts while on and
7 today the average one uses a little bit over 50, about 75.
8 So that's a huge reduction and this was another plug load
9 that was kind of growing really fast.

10 One important thing to realize about standards is
11 that it doesn't create new technologies. Instead it takes
12 advantage of the technologies that are available on the
13 market. Chris's slides showed today what -- if you chose
14 the best things on the market how much less you could use.
15 So there's always a large number of technologies out there
16 that just aren't maybe being used in mainstream. Maybe
17 it's a really slow market, this option curve, but standards
18 take those technologies and make them commonplace, I guess.

19 Over 40 years we have -- since the first
20 refrigerator standards there's still more opportunities on
21 refrigerators. September of last year, new refrigerator
22 standards came into effect that reduce the consumption even
23 more, so if you think that there's a dead end to these
24 standards there hasn't been. Not even for the very first
25 thing we regulated and I don't know how many standards have

1 come into effect over that, but many, many standards. New
2 technologies keep coming. They offer new opportunities to
3 reduce the energy consumption of plug loads in
4 refrigerators, even the old classic ones that you would
5 think are pretty stable. And they'll keep coming as long
6 as scientists keep inventing cool new technologies.

7 This is taken from the EIA and this is
8 residential plug loads. These are what they've identified
9 under miscellaneous loads, kind of the largest ones. The
10 top blue one is televisions. And there's a bunch of
11 different -- there's a lot of different kind of plug loads,
12 but these are the top users according to the Energy
13 Information Administration.

14 I've color coded the appliances or the plug loads
15 in different colored boxes. The green ones are products
16 that we've already passed some sort of standard on. The
17 yellow ones are ones that we're working on standards on and
18 the red ones are things that we don't currently have in the
19 pipeline to regulate. You can see there's lots of
20 opportunities, we're working on a lot of things. And like
21 I said we can revisit a lot of different standards as well.

22 But you can see that there's quite a number of
23 them that are growing. For example, set-top boxes is one
24 that's growing quite a bit. Some of them are a little more
25 in control, televisions, for example.

1 So appliance standards have a lot of advantages
2 over other programs. Relatively high savings with fairly
3 low cost compared to a rebate program when you consider
4 administration and all those other aspects of a rebate
5 program, free ridership. Appliance standards don't suffer
6 from any of those issues. They also can overcome many
7 nontechnical barriers that slow down energy efficiency such
8 as renter-owner split incentives. A very difficult to get
9 with many programs is to get an owner of a rental property
10 to buy, let's say, a better refrigerator. Well, an
11 appliance standard, you just have to buy the better
12 refrigerator. There's not really another option, so it
13 gets through a lot of the barriers that typically hinder an
14 energy efficiency program.

15 And again, not only does it target new
16 appliances, but also replacement applications. And the
17 savings really begin as soon as a compliant product is
18 purchased without any additional intervention. So no
19 matter how it's used essentially, you're going to save
20 energy over the baseline.

21 There are also several limitations to appliance
22 standards. We are preempted from adopting standards for
23 many products including the one we originally adopted for
24 refrigerators. That takes a number of opportunities off
25 the table in terms of what we can do as a state. We can't

1 target installation or application-specific efficiency
2 opportunities, we can only hit really broad technology kind
3 of improvements. We also can't really target heavy users
4 of plug loads, so there's a lot of things that might be
5 cost-effective in a certain instance, because someone uses
6 a product a lot. And we kind of have to cater to the
7 average usage. And we also have to wait five years between
8 revising standards, so we can't update extremely frequently
9 the standards.

10 I wanted to end my presentation with kind of an
11 order of magnitude of the impact of appliance standards and
12 building standards on commercial and residential
13 electricity consumption, so on the Y axis there is the
14 number of GWh/yr consumed per year. The red box is how
15 much was actually -- or how much is projected, I should
16 say, to be consumed in the year 2015. And then the green
17 box is an estimated appliance standard savings and the blue
18 box is estimated building standard savings. You can see
19 it's quite a significant amount of reduction from just this
20 one program. And it's actually pretty impressive. I mean,
21 it's about a quarter at least here on the residential. So
22 these standards have been extremely effective. This does
23 include more than just plug load, but the majority of the
24 things that we do regulate are plug loads in appliance.

25 So with that I think that's my last slide. Thank

1 you.

2
3 MS. RAITT: Thanks. So now we'll move on to Brad
4 Meister.

5 MR. MEISTER: So good afternoon. I'm Bradley
6 Meister, I'm from the Energy Research and Development
7 Division. It's great to see such a wonderful turnout today
8 with all these experts from Plug Load, so thank you very
9 much. I'm going to talk to you a little bit about
10 California's residential and commercial plug loads and our
11 CEC research.

12 So if we look at energy use, electricity use in
13 California you can see that both residential and commercial
14 buildings are responsible for nearly 70 percent of the
15 electricity consumption. And buildings contain plug loads.

16 If we look at residential loads we can see that
17 plug-in equipment now contributes a majority of electricity
18 consumption. This shows probably conservatively about 59
19 percent. You've got appliances, entertainment equipment,
20 pcs and then a variety of miscellaneous equipment, a lot of
21 electronic equipment and other miscellaneous loads. You
22 can electric space heating, electric water heating are
23 relatively small. You've got lighting and then air
24 conditioning and some other areas. but this really frames
25 up the importance of plug loads, especially as we move

1 toward Zero Net Energy.

2 Again just to show you some of these loads.
3 You've got appliances, you've got all the entertainment.
4 If you look at the electronics, and this is just a very
5 small list, everything from computer peripherals, laptops,
6 tablets, set-top boxes, and then all the other
7 miscellaneous loads that most of us probably don't even
8 think about: security systems, aquarium equipment,
9 thermostats, displays, so again lots and lots of loads.

10 If we look at commercial plug-in equipment
11 there's even broader diversity of commercial building of
12 end users resulting in a larger variety of plug-in
13 equipment. So you've got a lot of different types of
14 buildings. You've got everything from large offices and
15 prisons and restaurants. And then many of these building
16 niches have very specific plug loads like in the medical
17 area, there's very specific unique plug loads. So this
18 again just frames up the plug load problem.

19 I've included one graph here and it shows kind of
20 how the plug load has grown from 2003 to a 2012 study. And
21 in this study it showed as a building becomes more
22 efficient how the plug loads have increased. This shows,
23 you know, almost 50 percent in a high-efficiency building
24 compared to a standard office. And if you go back to 2003
25 you can see the plug loads weren't that big of a problem.

1
2 I want to talk a little bit about our past
3 success supporting Title 20. We've hit, I would say, three
4 really good home runs in supporting Title 20. We did
5 research on the external single volt power supply test
6 procedure, and we tested a number of these power supplies,
7 we wrote a primer and ultimately it was successful in
8 supporting Title 20 Standard that was effective 1/1/2007.

9 As you can see the linear power supply, the old
10 power supply on the left was very big, wasted a lot of
11 energy, came out in the form of heat. You see the new
12 switching power supply on the right, very successful and I
13 want to credit a number of people. But Chris Caldwell,
14 sitting down, was really instrumental in getting that
15 research completed, so again that was a big hit.

16 We did a lot of research on TVs. We tested
17 numerous TVs. We contributed to a new test procedure. And
18 that resulted in January of 2011 in a TV Standard.

19 And lastly, we developed a battery charger test
20 procedure. We did technology assessment. We tested
21 numerous battery chargers and provided that information to
22 Title 20 and that resulted in a successful standard back in
23 February of 2013. You can see on the right if you have a
24 power supply, a charging circuitry, and a battery that
25 comprises a battery charger.

1 So how much did we save? As you can see we spent
2 a million dollars of state research money on these three
3 projects and it's projected to save 1.2 billion per year.
4 So that's an incredible payback on an investment of \$1
5 million. You see under the CEC Cost what we paid and then
6 the projected savings. Now, of course, it's going to take
7 some time before there's crossover and all these products
8 are out there. But this is what these products will save
9 when they get into the market, so again a good bang for the
10 buck.

11 We've done a lot of other research. I think to
12 date we've spent about \$7.4 million on plug load research.
13 I'll quickly go through these. We influence an 80 Plus
14 Program. And that's a program that really Ecos and EPRI
15 stimulated with the utilities. And right now there are
16 over 5,200 qualified power supplies if you ever Google 80
17 Plus. But again, that initial research we did with the
18 external single volt power supplies really influenced this
19 program. So we can take some credit for that.

20 We influenced or revised specification for
21 computers that included a power factor correction that .9
22 or better. We developed low and ultra-low energy
23 computers. There was a paper we wrote called, "How Low Can
24 You Go." And this research was really important in that it
25 stimulated the manufacturers to build computers that used

1 less energy, more efficient.

2 We developed a protocol with LBNL on proxying.
3 And that's a method where a device can enter a low-power
4 state while still maintaining a virtual presence in the
5 network.

6 We worked on IEEE 802.3AZ, which is the Energy
7 Efficiency Ethernet, which provides for less power
8 consumption during periods of low data activity. It's a
9 little bit like a VFD motor, if you don't need it, slow it
10 down.

11 We've worked with Calplug down at UC Irvine and
12 developed an efficient set-top box. There was a 5-watt 5-
13 second prototype that was developed, had a 5-watt idle
14 power and could recover in a 5-second period of time.

15 We developed both a computer survey and a
16 monitoring report at Calplug and these reports were really
17 important in that they helped us better understand computer
18 power enabling rates. And again, that's now an important
19 piece of the rulemaking in Title 20. So again, really
20 important reports.

21 We also did a piece of research on energy
22 reporting and display. And we looked at self-reporting on
23 power consumption with a focus on computers, so we
24 developed a program to go in and look at the different
25 components in a computer and say how much of these

1 components we're using at different types of operation.

2 We developed some efficient kiosks with EPRI and
3 those were 98 percent more efficient than the baseline
4 models we tested.

5 We did an energy efficient multimedia computer
6 that had twice the performance and was 31 percent savings.

7 And we also looked at a variety of home audio
8 equipment, sound bars, power speakers and optical
9 displayers. And what we found was that more aggressive
10 strategies for auto power down and idle mode could produce
11 substantial savings.

12 As far as a vision for the future, this is kind
13 of a snapshot in time. But this certainly is one vision
14 that I think is important. So you want to convert power
15 efficiently with the power supplies. You want to store
16 and retrieve energy efficiently, your battery charging.
17 You want to use features, if you can, of mobile technology
18 to reduce power of mainstream electronics where applicable.
19 You know, the mobile have done a lot and we can really
20 learn a lot from mobile technology. We want to enable true
21 proportionality between the energy consumed and the useful
22 work delivered by devices. And there's a new IEEE
23 Committee, I think it's P2415, that talks to this. We want
24 to auto-power down equipment and put buildings to sleep
25 automatically when not in use. Be shipped with power-

1 saving features included and clearly communicate the
2 operating state to users.

3 The last item I want to mention is a very
4 important upcoming solicitation. It's unprecedented in
5 that it'll be about \$10 million, which I told you earlier
6 we spent \$7.4 million so far. This more than doubles that.
7 We expect the grant funding opportunity to be released in
8 the September timeframe. We're going to develop next-
9 generation plug load devices, technologies and supporting
10 codes and standards. Look at integrated plug load
11 strategies, strategies, control integration and displays,
12 again supporting codes and standards.

13 And the website doesn't come out real well, but
14 if you go to that website you can review the draft
15 solicitation. And we really want your input. We want you
16 to look at it and provide comments to Felix Villanueva by
17 the second of July. And we want to hear what you have to
18 say. We want to see if we've missed something. So again,
19 it's really important please that you go to this, review it
20 and let us know if we've hit the mark on what we're going
21 to be putting out.

22 I think that's it. Thank you very much.

23 COMMISSIONER MCALLISTER: Thanks, Brad. Thanks
24 for all your work on this over time too. Even nurturing
25 the Calplug effort along and getting some good wins there.

1 And I want to reiterate the last thing Brad said,
2 once that PON comes out it's sort of like all the shutters
3 come down and it's really hard to have a conversation about
4 it, because it's on the street and we have to follow the
5 process. So in order to get your feedback into the
6 process, now is the time. So we really want substantive
7 comments to come forward by that deadline, because as soon
8 as that thing comes out everybody goes on the track of RFP-
9 dom.

10 MS. RAITT: Great, we were able to Katharine
11 Kaplan on the line.

12 MS. KAPLAN: Great, hi there everyone.

13 MS. RAITT: Let me get your presentation up, just
14 one moment.

15 MS. KAPLAN: Super. First, thanks very much for
16 inviting me to be part of this exciting dialogue and thanks
17 to the IT team for helping me problem solve there.

18 Can you guys run the slides for me?

19 MS. RAITT: Yeah, go ahead and just tell me when
20 you'd like to move on to the next slide.

21 MS. KAPLAN: Okay. I think that this is the last
22 slide.

23 MS. RAITT: Oh, excuse me. There you go.

24 MS. KAPLAN: Thank you, very much.

25 So it's been exciting to hear the last couple of

1 presentations and to hear the breadth of work that's
2 happening by so many different players. Of course, we're
3 aware of all of the folks who are contributing so
4 significantly through efficiency. And it's neat to think
5 about the interplays of our programs and the way that we
6 can all collectively drive efficiency.

7 So ENERGY STAR labels products, homes, buildings,
8 I'm going to talk about products. And we've been in the
9 game for more than 20 years and get some good results, so
10 in 2014 prevented -- with the help of many, many partners
11 of course, prevented 300 million metric tons of greenhouse
12 gas emissions. Next slide.

13 So I wanted to focus today on the multi-pronged
14 approach we're taking to address plug load. It's not just
15 about writing ENERGY STAR specs, we have a number of
16 additional program efforts underway that I just wanted to
17 speak to very, very briefly. We also have our ENERGY STAR
18 Most Efficient Program, our Emerging Tech Award; we have a
19 nascent Retail Products Platform that I'll just give you a
20 little bit on. And then we also been running a couple of
21 campaigns focused on encouraging people to change out their
22 old equipment that I wanted to highlight as well. Next
23 slide.

24 Great. So this is a visual that I think depicts
25 well the interplay between our different products,

1 efficiency requirements, efforts versus campaigns. So, you
2 know, it sort of plots them on a continuum. We have in the
3 area of not -- yes commercially available, but not having
4 any traction in the U.S. market. We have our Emerging Tech
5 Program try to pool efficient products, super-efficient
6 technologies, into the U.S. market.

7 We then have our ENERGY STAR Most Efficient
8 Program, which is for products that are available in the
9 U.S. market, but we want to recognize the best of the best,
10 the most innovative technology within an existing category
11 for us.

12 And then we have the Base ENERGY STAR Program
13 where products are widely available and we're highlighting
14 the top performers within a category.

15 And then, of course, after ENERGY STAR we have
16 the great work done by Codes and Standards that Ken, for
17 example, was just talking about. And go the next slide?

18 Great, so as far as ENERGY STAR specs, 2015 has
19 been another busy year for us. We have 19 spec revisions
20 either underway now or we're still planning to launch them
21 before the end of the calendar year and it's a lot of
22 products: displays, imaging, small network equipment,
23 audio-video, set-top boxes, lamps, light fixtures, room air
24 conditioners. And then so that's on the residential side.
25 Then, of course, commercial as well: servers, UPSes, rack

1 ovens, you know, on and on.

2 We have 11 new product categories under
3 development. Connected thermostats, electric vehicle
4 supply equipment, sump pumps and more, large network
5 equipment, medical imaging equipment that was our first
6 foray into the medical category.

7 And then we have some reviews underway now too,
8 that will help us determine whether we should revise
9 dehumidifiers, ceiling fans, room air cleaners. And then
10 we're always scoping new products as well. Next slide?

11 I liked Ken's slide better for TVs in what we've
12 seen happen here, but this slide just shows the reduction
13 in energy use of TVs over the last couple of years in the
14 way that ENERGY STAR as well as California and others have
15 helped to drive down the energy use of TVs -- a real
16 success story, next slide?

17 This is a slide that tracks the reduction and
18 energy use of some major appliances in the home. And this,
19 of course, is the result of combined work of federal and
20 state standards and the ENERGY STAR Program. So I think it
21 shows that we collectively can get some great reductions in
22 energy use. Next slide.

23 Great, so there's a the base ENERGY STAR Program
24 and then I mentioned that we have also this best of the
25 best of the ENERGY STAR Most Efficient for a subset of our

1 categories where we're able to differentiate -- there's a
2 large kind of leap to super-efficient products within the
3 data set of ENERGY STAR products. Next slide?

4 So we piloted the program a few years ago. We
5 formalized it such that we are revising the ENERGY STAR
6 Most Efficient requirements annually. I think we
7 formalized in 2012 and have had renewed requirements every
8 year for the last few years.

9 This past year in 2014 we felt like we had enough
10 traction, enough interest from some utility partners as
11 well as a very small, but growing consumer awareness. We
12 decided to do some targeted promotions with some of our
13 partners and some really great outcomes from those targeted
14 from those targeted promotions. You can see during the
15 promotion an uptick in the interest in ENERGY STAR Most
16 Efficient, so we intend to ramp up our promotion of these
17 products to raise consumer awareness and commitment to
18 buying the best of ENERGY STAR. Next slide?

19 Yeah, so it's still such a new program for us
20 compared to the base ENERGY STAR, but we've got some
21 utility partners working with us. And in the survey that
22 the Consortium for Energy Efficiency does for us, we are
23 seeing that there is this slight uptick in the awareness of
24 and commitment to buying an ENERGY STAR product if all else
25 is equal, right? If price is equal, for example.

1 And with ENERGY STAR most efficient I should just
2 mention we're really targeting a very specific customer and
3 this isn't for the mass market. We are looking to get the
4 attention of very environmentally minded consumers. And we
5 were -- and these consumers are interested in buying a
6 product that is super-efficient even if it costs more. So
7 when we did that I highlighted on the last slide, we
8 targeted those very specific end-customers trying to get
9 their commit. Next slide.

10 I wanted to talk about the third of these
11 companion programs that we have. This is the Emerging Tech
12 Award, again an extension of the ENERGY STAR brand. We are
13 looking to highlight within an award program, product
14 categories that are a technology that can deliver a
15 tremendous amount of savings, but it hasn't yet had uptake
16 in the U.S. markets.

17 We have some different principles for emerging
18 tech in that the emerging tech products are not obligated
19 to be cost effective like the ENERGY STAR products. So we
20 can really bring super-efficient products without the cost
21 barrier into the ENERGY STAR fold.

22 And we pick a new category every year or so and a
23 the award is a one-year award. If you can go to the next
24 slide?

25 Yes, here are the award selection criteria:

1 commercially available, maybe in another region of the
2 country, but not widely adopted here in the U.S. More than
3 one supplier, demonstrated savings through a fair and
4 repeatable test, and well-matched with the ENERGY STAR
5 competencies and roles such that we think that we can bring
6 some benefit to the product category. Next slide.

7 And this is just a little record of just the last
8 -- this is also a new program for us. So the last product
9 category -- the product categories we've focused on in the
10 last few years. We had -- I'll just highlight our 2015
11 Demand Control Kitchen Ventilation Emerging Tech Award.
12 That was really an idea that came out of our utility
13 partners. But we had four award winners so far, savings up
14 to 60 percents over conventional, so that's a great
15 opportunity.

16 And then we are looking to secure nominations for
17 2016. And we will make a decision on the category for the
18 award come September. So if you have ideas I welcome you
19 to -- you can send them to me and I'll route them to my
20 teammate, Peter Banwell, who is leading our Emerging Tech
21 Award. Next slide.

22 So I wanted to talk with you just a bit about a
23 nascent ENERGY STAR effort that's a retail products
24 platform. It's a nationally-coordinated midstream program
25 that's being developed by a group of utilities with the

1 EPA/ENERGY STAR's help. The heart of the effort is really
2 to help evolve traditional program design and delivery and
3 evaluation to retail-based efficiency programs. So they
4 reflect the changing nature of the residential product
5 market and capture remaining really hard to reach energy
6 savings through market transformation. So this is a
7 collaborative effort representing a number of different
8 regions in the country. If we can go to the next slide.

9 So what we're trying to do with the pilot is test
10 a mix of different products, prove a consistent model for
11 midstream intervention, can work and then streamline
12 implementation. And the participants, the utilities with
13 EPA participants have tested a number of different
14 products. You can see them here. These again are
15 difficult products where we're hoping that a collective
16 effort can make a difference. So we can keep everybody in
17 the loop on the outcome of this pilot. Next slide?

18 So I actually wasn't aware that the CEC cannot
19 set requirements for things like installation, but we did
20 so ourselves in our most recent room air conditioner spec
21 that we just finished a couple of months ago. It'll take
22 effect in the fall of 2015. And this a new thing for us,
23 but the savings offered by better installation of room air
24 conditioners are just -- they are really big, it's a big
25 opportunity for savings and also for consumer comfort.

1 So this is sort of a starter point for us for
2 installation: requiring that better materials be included
3 in the box including all the weather stripping and gasket
4 materials that a consumer would need to install and also
5 raising the bar of those materials, like the side curtains,
6 setting an R value for those. And then we're in making
7 sure that those who certify products with us also provide
8 good instructions and make recommendations to consumers who
9 are going to leave their units in their window that they
10 get a cover for them.

11 So we have a lot of interest in these
12 requirements, which is exciting and hope that we can really
13 raise the bar across the board for installation. We
14 usually get a really good uptake on ENERGY STAR for room
15 air conditioners. It's a good way for manufacturers to
16 differentiate themselves, so we're hoping to move the bar
17 here. Okay. Next slide?

18 Great, and now I'll talk about just a couple of
19 promos that we're running or one we ran and we're going to
20 run again that we hope will help get some old product off
21 the grid and get more new efficient products into people's
22 homes. And one was a "Flip Your Fridge" which has been a
23 lot of fun. We got a lot of great attention from the Ellen
24 Show for example, which was super. And we're working
25 closely with a number of great utility partners to

1 implement this campaign.

2 And next slide is a similar approach, looking to
3 get homeowners to replace their old, less efficient water
4 heaters with new much more efficient ENERGY STAR certified
5 water heaters. And water heaters have been a tough sell,
6 mostly because people replace them when they fail and then
7 you get whatever's on the plumber's truck, in their truck.
8 Anyway, the idea here is to help folks replace before
9 failure, so they have the opportunity to make a good choice
10 when it comes to efficiency. Next slide.

11 Oh, here I already gave you most of this
12 information other than it's going August through October of
13 this year. And we'll move to the next slide.

14 And that's it. So I hope I've left you with the
15 vision that we're trying to take a really multi-pronged
16 approach to getting at plug load to beyond ENERGY STAR base
17 requirements, which of course we continue to try to revise
18 as quickly as we can.

19 We're definitely running to keep up, but also
20 looking at a top tier with most efficient, pulling super-
21 efficient products into the market with the emerging tech
22 award. And then trying new things, right? Trying to
23 improve installation, to get collectively with utility
24 partners to get at very hard to reach energy savings
25 through our retail product platform, and then using our

1 promotions to encourage consumers to have efficiency top of
2 mind and to get rid of old inefficient products and make
3 good choices about the new products they replace them with.
4 Thank you.

5
6 MS. RAITT: Thank you.

7 So our next speaker is Tom Gorin.

8 MR. GORIN: Thank you. I'm Tom Gorin from the
9 Demand Office and I'm going to attempt to explain the way
10 we treat plug loads in the Residential and Commercial
11 Forecasts. Chris Kavalec was asked to do that, but he's
12 not here this week and he decided to dive into the archive
13 closet to pull me out since I've been involved in the
14 Forecast since about 1978.

15 I had some qualms about what were plug loads, but
16 we have an Energy Forecast for multiple sectors and
17 residential and commercial buildings are two of those.
18 Residential and commercial buildings are both end use space
19 and Brad Meister had some charts that probably showed it
20 better than I can here. We have 23 end uses for
21 residential buildings, 10 for commercial buildings, most of
22 these are plug loads. These aren't exact classifications,
23 but 15 for residential buildings and 4 for commercial
24 buildings.

25 The way I grouped our end uses does not include

1 HVAC, water heating or any lighting integrated or
2 otherwise. I think all the forecasted plug loads should be
3 end uses. I was talking with the commercial modelers and
4 in the miscellaneous sector end use for commercial they
5 noted that things like elevators and escalators and various
6 other miscellaneous equipment may not be plug loads
7 specifically, but that's the way I grouped them.

8 We have specific end uses that are tracked in
9 both the residential and commercial model. And other plug
10 loads fall under the miscellaneous category in residential
11 and it's called "other" in commercial. But I grouped it as
12 "miscellaneous" in commercial also. So I calculated total
13 plug loads as the specified end use plug loads plus the
14 miscellaneous plug loads. The specified end use plug loads
15 are highlighted in yellow here for residential and
16 miscellaneous is in green. For each planning area there
17 are three housing types.

18 And there's difference in the backup slides by
19 planning area of percentage of plug load consumption. And
20 in the residential sector that has to do with the
21 difference of saturations of the various end uses and a
22 different mix of housing types. In the commercial sector
23 these are the end uses. What I call plug loads are
24 cooking, office equipment, refrigeration, and miscellaneous
25 in the differences.

1 In the commercial sector, by planning area, are
2 due to the difference in saturations and differences in
3 makeup of commercial building stock by planning area. So
4 the specific plug loads that we have that are specified end
5 uses in the residential sector are a function of appliance
6 use intensity, appliance saturations, and demographic
7 drivers. And it's a aggregation of the equation probably
8 that was in Chris Calwell's presentation.

9 And similarly the commercial sector is driven by
10 energy intensity use per square foot. And that's derived
11 mainly from building simulation analysis. And these plug
12 loads in the forecast over the forecast period and through
13 history are tempered by the Building and Appliance
14 Standards over time. And in part of the forecast -- in
15 this 2005 publication has the most detail on how that is
16 derived.

17 Plug-in lighting is not, as I said before,
18 treated as a plug load. It's defined under lighting as one
19 category.

20 Then we have the miscellaneous end-use category,
21 which is basically a residual between consumption and
22 between some of the end uses that we have in the forecast
23 and the historic consumption that it is measured against
24 for residential and miscellaneous growth before 1998, so
25 function of price, income, and persons per household. And

1 after 1998 through the end of the Forecast is forecasted to
2 be a constant growth rate. We're looking currently for
3 better data and growth patterns and partly what this
4 workshop can shed on that information to get more reliable
5 estimates of future forecasts for plug loads.

6 In the commercial sector it was decided that
7 miscellaneous growth should be similar to the growth rate
8 in office equipment.

9 These are kind of overall results. Here this is
10 residential energy growth from the residential sector in
11 2013 and 2026 and here growth in miscellaneous alone
12 accounts for 86 percent of the total growth in the
13 residential sector between those two years. And you'll
14 notice there's a decrease in water heating and lighting and
15 HVAC is relatively constant.

16 COMMISSIONER MCALLISTER: Hey Tom, can I jump in
17 with a question?

18 MR. GORIN: Yes, sure.

19 COMMISSIONER MCALLISTER: So you said a couple
20 slides back that residential computers and equipment are in
21 the miscellaneous category?

22 MR. GORIN: Yes.

23 COMMISSIONER MCALLISTER: So when we get through
24 a regulatory proceeding on computers, for example, how will
25 that pan out in the way you do the forecast?

1 MR. GORIN: That's a good question. There's been
2 a movement, but lack of staff resources essentially to look
3 at residential office equipment as a separate end use. And
4 if we did that we could address the standards, reductions
5 in the standards that way if we had that as a specific end
6 use. Otherwise we'll probably make some post --

7 COMMISSIONER MCALLISTER: Assumptions or?

8 MR. GORIN: -- post-reduction based on the
9 estimates from the standard savings.

10 COMMISSIONER MCALLISTER: Okay. So I mean, this
11 is kind of illustrative of the challenge we have right,
12 which is unpacking that miscellaneous and really trying to
13 put our finger on what's going on in each sliver of the
14 marketplace there. And then the computers isn't actually a
15 sliver, it's a pretty big deal.

16 MR. GORIN: Yeah, and there's attention between
17 defining each specific end use and the desire to have a
18 more simplified model.

19 COMMISSIONER MCALLISTER: Yeah.

20 MR. GORIN: So we have to figure some of that out
21 too.

22 COMMISSIONER MCALLISTER: Okay. Thanks.

23 MR. GORIN: And this is residential peak growth
24 and 42 percent is miscellaneous, which is a lot lower than
25 the sales growth, because of residential peak is HVAC.

1 MR. PENNINGTON: So Commissioner, could I ask
2 question?

3 COMMISSIONER MCALLISTER: Yeah, please go ahead,
4 Bill. Yeah.

5 MR. PENNINGTON: So Bill Pennington with Energy
6 Commission staff.

7 So it's interesting that there's a lot of
8 downward pressure on the energy use of individual plug
9 loads. Chris talked about it, Ken talked about it, you
10 know, the standards and then just general improvement going
11 on in the marketplace, but yet you're showing substantial
12 growth here from 2013 to 20126. So I'm wondering what is
13 driving the growth you're projecting. Is it almost all
14 population growth, is it some sort of indicator of the
15 proliferation of these devices? You know, that's what I'm
16 asking.

17 MR. GORIN: I was asking the same question when I
18 saw that, because I didn't really look at the results until
19 I printed these out. A lot of it is that in residential
20 miscellaneous is kind of projected as a residual from
21 consumption to growth. And some of it is -- a lot of it's
22 grown by income. And if you look at average income and the
23 projections from Moody's or Global Insight average
24 household income increases at a fairly rapid rate. I would
25 indicate that we might want to look at median household

1 income, which is a lot flatter rate of growth, but that's
2 something that we're going to have to probably address for
3 future forecasts. And maybe we're going to look at that
4 for the revised forecast.

5 One of the issues was trying to, from about 1998
6 to 2013 there's been a lot of gyrations in energy use in
7 the residential sector, because of the energy crisis, the
8 deregulation and the recession. And things that are
9 difficult to model as a forecast, but after they happen you
10 might say that's why consumption's gone one way or the
11 other in the past.

12 COMMISSIONER MCALLISTER: So Bill, it seems like
13 this problem has really kind of -- it becomes a black box I
14 guess, because what we're hearing is that it's a residual
15 right and sort of falls out of other things. But maybe the
16 idea here who's time is approaching is to actually have a
17 specified model of that miscellaneous category of some sort
18 with its own assumptions, right? So I mean that seems like
19 a pretty tall order, but I guess I'm wondering -- maybe
20 Chris has some ideas about this or somebody else?

21 MR. CALWELL: Yeah, I'd be happy to chime in real
22 quick on this.

23 I mean, Bill part of why I put that slide in
24 about the equation is to try to urge some more
25 formalization and recognition of the fact that you could --

1 as we saw in the graph of TVs you could make the average
2 50-inch TV 300 percent more efficient over a period of
3 time, and not necessarily see a big reduction in the total
4 energy use of California's TVs. Just because there are so
5 many more of them, they are on average getting bigger,
6 they're getting brighter, their resolution is getting
7 higher and people do more things with them. And I think
8 once you have a climate constraint driving your state
9 policy rather than just the average efficiency of the
10 average new product you kind of get a reality check of how
11 much more work there is to do.

12 It's a really challenging thing to do. And I
13 guess I didn't realize that the California official
14 forecast on plug loads was this aggregated -- you know,
15 this not -- disaggregated if you will. And one thing the
16 Energy Commission might want to do is consult with the
17 folks at the Northwest Power Planning Council, because they
18 have had to build these kind of disaggregated models for
19 the plug loads in their region to do their periodic five-
20 year power plans and forecasts. And there might be some
21 data sharing there that would reduce the burden of creating
22 a similar model here.

23 MR. PENNINGTON: One observation I would make is
24 that we want to revisit our plug load assumptions for the
25 building standards as we're moving towards ZNE. So it's

1 really important that we figure this out and all the
2 indications of a sort of per-device way to look at it, look
3 like those loads are going way low. But if there's
4 something else going on that's going to increase those
5 loads, because of more of these devices in the house or
6 whatever that kind of complicates the question for us.

7 COMMISSIONER MCALLISTER: Thanks.

8 MR. GORIN: But the one other thing I was
9 thinking about is we put this together for the energy
10 growth, we're basing this on electricity consumption, which
11 is the sum of energy deliveries or retail sales by the
12 utilities. Plus our estimate of PV and there's no -- I
13 guess I would argue there's no accurate measurement of PV.
14 It's not measured with the same accuracy as energy sales
15 are.

16 COMMISSIONER MCALLISTER: Right. So it's an
17 estimate of total consumption you're saying?

18 MR. GORIN: Right.

19 COMMISSIONER MCALLISTER: Yeah, I've been there.

20 I guess I had one other observation here too. In
21 categories like computers for example, we're focusing --
22 we're not actually focusing on global consumption. We're
23 focusing on one piece of the way they're used, which is the
24 standby or the certain power modes. And so I think we're
25 talking about taking a more global view of this to include

1 all of that other discretionary use, which also presents I
2 think some complications. So, you know, what is the
3 strategy? How much of this can be done within Title 24
4 effectively and what requires sort of more creative
5 thinking?

6 It looks like Pierre?

7 MR. DELFORGE: Can I make just a quick comment?

8 I will speak more about this and this is Pierre Delforge
9 from NRDC.

10 I will speak a little bit more about this in my
11 talk, but I want to comment that most of the plug loads
12 that we are looking at here are not regulated today.
13 They're not a subjective standard, either federal or state.
14 So I think despite the continued efforts I think we are
15 catching up with -- or we're not even catching up, no we're
16 staying behind the rate of growth in terms of the
17 diversity, and as Chris said, the consumption functionality
18 size of these devices, which is part of the reason why
19 we're seeing the growth despite the efforts that we're
20 making.

21 COMMISSIONER MCALLISTER: I mean, again I would
22 say there's a policy challenge here. We have more types of
23 devices. They're more complex and there's a certain, if
24 you look at it, it's sort of a fixed cost of doing a
25 regulatory proceeding. You know, you can only kind of get

1 so many of them done given the amount of resources. So how
2 do we sort of prioritize? And I mean, I think staff is
3 tremendous at getting through them and coming up with a
4 technical underpinning, but that job is getting harder. So
5 I think we need to think about where Title 20 fits in and
6 where sort of maybe the marketplace can be -- can we work
7 more with the marketplace to do things that maybe don't fit
8 into that scheme? Just an abstract idea, but I think it's
9 something that has very practical implications.

10 MR. GORIN: Okay. These are the same grasp, but
11 for the commercial sector and in the commercial sector
12 miscellaneous growth only grows -- only accounts for 38
13 percent of the growth between 2013 and 2026 and 26 percent
14 of the peak growth. And I think that's a result of the
15 assumed growth rate there being more like the office
16 equipment growth rate.

17 So these sort of findings that I've put together:
18 the plug loads are a greater portion of annual energy
19 consumption than peak consumptions dominated by air
20 conditioning. They are a greater portion of residential
21 peak, which I already talked about.

22 There are -- I put backup slides in there by
23 planning area if anybody has problems getting to sleep at
24 night they can look at those. But they're different,
25 because there's different appliance mixes, different

1 building types, different commercial building mix as well
2 as different climate mix in the state. And plug loads
3 account for virtually all of the miscellaneous growth. And
4 so these are the differences and this is the sum of --
5 these are by planning area. You can see the difference of
6 total peak and energy consumption as a percent. This is a
7 percent of the total system peak, not the sum of
8 residential and a commercial. So it's what the percentage
9 of peak and energy that's accounted for out of the total
10 system, peak and energy.

11 We could use more recent and representative data.
12 There's been talk of using AMI data and some disaggregation
13 algorithms if we can get -- have some of that available to
14 us. The issue sometimes there is getting a representative
15 sample of the state.

16 Our current analysis relies on the existing
17 commercial and residential surveys, the most recent
18 commercial surveys from 2003-2004. There's an RFP being
19 rewritten for a commercial survey currently and it's hoped
20 that we can get that out by the end of the year.

21 The most recent RASS survey is from 2008 and
22 we're just in the discussion stages of trying to put
23 another one of those together.

24 COMMISSIONER MCALLISTER: Hey, Tom do you have --
25 great, I'll ask a question.

1 MR. GORIN: Okay. That's it.

2 COMMISSIONER MCALLISTER: So it strikes me that
3 there are quite a number of activities going on, largely at
4 universities around the state, gathering some of this
5 short-endable data and doing some load shaping and doing
6 really some analysis that's somewhat aggregated, but kind
7 of trying to make sense of the patterns that are out there
8 in the end use. And there are also commercial entities
9 that are working with the utilities and using Green Button
10 and Green Button Connect to kind of do analytics in
11 relatively real time to try to understand the proliferation
12 of different types of loads, maybe not specific loads
13 necessarily, but different types of loads. And
14 miscellaneous loads would be much of that, recurring loads
15 and then also just standby loads and things like that.

16 I guess have we -- in the forecasting realm, does
17 the Demand Office -- sort of are you tuned into some of
18 those efforts and maybe thinking about how they could be
19 leveraged?

20 MR. GORIN: Probably not as much as we should be,
21 because we seem to be on a forecast treadmill if you will.
22 I may be a little bit, because I'm kind of removed from
23 that as a retired annuitant.

24 COMMISSIONER MCALLISTER: Well, no I'm not asking
25 you to put you on the spot really. I'm just sort of trying

1 to think about how we might leverage some of the thinking
2 and work that's going on out there beyond these walls.

3 MR. GORIN: Yeah, we were thinking about that in
4 a meeting earlier today. I will say that PG&E informed me
5 a couple of days that 9 percent of my summer energy use was
6 used to cool my house. And I have three ceiling fans and
7 no air conditioning, so my question is how did they arrive
8 at that number?

9 COMMISSIONER MCALLISTER: You know, I have the
10 same thing going on where I got a whole house fan and my
11 cooling load went up. And that's because I love my whole
12 house fan and I actually use it a lot. I use it relatively
13 more than I ever did my AC, but so I fixed that. But that
14 kind of information drives behavior, it kind of allows you
15 to make better decisions, right?

16 MR. GORIN: Yeah.

17 COMMISSIONER MCALLISTER: Yes?

18 MS. BROOK: Hi, Martha Brook, Energy Commission
19 staff. I just wanted to make a note about the Commercial
20 Forecast, because I think if you just look at it at a
21 surface level you could kind of mischaracterize the
22 miscellaneous plug loads. And I think it's because of what
23 Tom said where they link it to their estimate of the energy
24 used for office equipment. And if you think about how we
25 all work in offices across the state, we bring all of our

1 plugs or a lot of our plugs from home into the office
2 environment. And I don't think that's getting captured, so
3 to the point where we're trying to focus on what's most
4 important in regards to commercial I think we might be
5 under-representing the low growth in commercial.

6 COMMISSIONER MCALLISTER: Thanks.

7 All right, any other observations?

8 All right, great. Thanks, Tom.

9 MR. GORIN: Thank you.

10 MS. RAITT: Great, I'd like to thank the first
11 Panel on the Status of Plug Load Effects and we'll move on
12 to the second Panel.

13 Oh, I'm sorry. Did you have a comment? Go
14 ahead.

15 (No audible response.)

16 So our second Panel on Plug Load Standards
17 Development, and we do have a change to agenda. Peter
18 Franzese -- sorry if I mispronounced your name -- is going
19 to be on the third Panel.

20 So our second Panel is moderated by Ken Rider.
21 Do you want to go ahead, Ken?

22 MR. RIDER: Yeah, thanks. You know, in my
23 presentation I kind of went over the baseline of things
24 that we're doing today already. But I think we want to
25 move with this Panel, more into the things that we're not

1 doing yet, and suggestions for kind of additional
2 activities that we take in standards in other areas. So
3 we've brought together a Panel of people, these four people
4 right here in front of you. We've got Vojin, Joy, Tony and
5 Pierre. And we'll walk through their presentations and
6 then once we're finished with the presentations we'll have
7 a discussion about some of the opportunities.

8 So with that, I will ask, Vojin, if you could
9 please present.

10 MR. ZIVOJNOVIC: Thank you, Ken. I'd like to
11 thank the Commission for inviting us to present today. My
12 name is Vojin Zivojnovic and I'm from the company AGGIOS

13 Just briefly about us, we are a California
14 startup, small business entity, with a focus on research
15 innovation to save energy. Our key technical expertise
16 comes from the very details of plug load, mobile, Internet
17 of things devices. And most of us come from the mobile
18 world where we developed tablets, phones and other devices
19 which are known to consume very little energy. We are an
20 independent and fully employee-owned company.

21 Our vision from the technology perspective is
22 really the software defined power management and energy
23 management based on industry standards. And I'll try to
24 explain what we mean by that in the upcoming slides.

25 And here are the three key reason why we are here

1 since 2013 where we were invited to the CalPlug Workshop,
2 which was a very important recall to evangelize this topic
3 in the wider business community. We started contributing
4 to the Energy Commission's activities.

5 Our specific angle we are promoting is mobile
6 efficiency. That's where we come from and that's where
7 we'd like to kind of point what advances can be made
8 learning from that very large industry. And in particular,
9 increase the awareness of some of the new standards. We
10 are working on the IEEE P2415, which is the unified
11 hardware abstraction for energy-proportional electronic
12 devices and the CSA standard for unified computing
13 appliances.

14 I start with a view of where we are as humans
15 versus where is the rest of the nature. And I think we as
16 humans have done a phenomenal job in building our gaming
17 consoles, computers, all these devices for maximum
18 performance. And we are pretty on par with this wonderful
19 animal, the Cheetah chasing its prey, when it comes to the
20 performance, when it comes to the run to the full speed.

21 We believe still that we have a long way to go to
22 learn how to develop our devices in our system, so that
23 they can equally sleep well and idle when this is not
24 needed and rest enough to be ready for the next step. This
25 slide is contributed by Professor Jan Rabaey, but we think

1 that that's a very well-known principle.

2 This principle, which I just have shown in this
3 slide really got materialized in the principle of Energy-
4 Proportional Computing. So a couple of smart people from
5 Google predominantly focused at that time in 2007 --
6 focused on servers came to some very important conclusions
7 based on their paper, "The Case for Energy-Proportional
8 Computing," where in very simple terms the machines should
9 consume energy in proportion to the amount of the work
10 performed.

11 The left side shows the LESS energy-proportional
12 device, which already consumes 50 percent of maximum power
13 when utilization is zero. On the right-hand side you see a
14 MORE energy-proportional device, which obviously is
15 delivering something which we would like to have, so that
16 it has a very low power consumption at minimum utilization
17 or when almost no work is done.

18 This principle is very simple at a first glance,
19 but it involves that all components, which are included in
20 that device follow the same energy-proportional principle.
21 So what we did here as an example of the most recent
22 results from the Appliance Efficiency Pre-Rulemaking where
23 we, in this same room, have presented computers -- one
24 assembled, the other one commercial bought off the shelf --
25 where we have enabled with software and the changes in the

1 power supply unit to slash the consumption level in short
2 and long idle by 61 percent for the assembly consumer pc
3 and 54 percent for the commercial pc.

4 This is fine and good, but this is really when
5 you have one device a server, a laptop, desktop and you
6 would like to optimize it and this what most of the efforts
7 have been so far. What I'd like to present today is an
8 extension of the energy-proportional principle,
9 proportionality principle to a complete ecosystem. So on
10 the right-hand side you see this interaction with the
11 device and its internal components, but equally important
12 for proportionality is what is the environment this device
13 lives in? And the proportionality effectively extends not
14 only to the work performed by a single device, but to the
15 relationship between the invested energy through all these
16 levels from the state, then energy companies, your home,
17 the device itself and the components, back to the useful
18 work. So we believe that at this moment in development
19 it's a perfect time to think about a global principle we
20 will follow when it comes to plug loads. And that we tried
21 to push that principle not only into the chips and the
22 software, but also complete devices as well as the complete
23 ecosystem.

24 What would that mean? That would mean on the
25 right-hand side that yes, the standard energy-

1 proportionality is further developed. So that what Chris
2 was talking about, the impact of the software, absolutely
3 we see that growing over time. Hardware, we would say, is
4 going to be more and more convergent and unified. And then
5 on the left side it's not only about how the device
6 controls its components, but also how the device is
7 proportionally controlled by its environment. And that
8 would include, for example, what Chris mentioned -- that
9 the device reports its own consumption.

10 And these devices are very, very smart. They
11 know that. Internally, they have small AD converters
12 connected to a microcontroller in order for this device not
13 to overheat, which is a very important point for the
14 manufacturers. They have all the preconditions that they
15 can, already today, report their energy consumption. But
16 it needs to be taken up.

17 This is not only applying to these Apple TVs. It
18 applies to pretty much all devices, because the portion of
19 their smartness, their brain is growing. The fridge has a
20 more capable microcontroller today than it had ten years
21 ago, because this is in the regulation of the motor itself.
22 The pull pumps are the same, not to speak about your
23 desktop, which probably would surpass the most powerful
24 computers from 10, 15 or 20 years ago.

25 So where are the challenges to have this unified

1 energy-proportional solution in our lives here and which
2 could impact the energy consumption? We see that in
3 component costs and development time, which really is
4 related to the fact that it's hard to move ecosystems.
5 It's hard to move desktop computer ecosystems, set-top box
6 ecosystems and similar. And whether these are huge
7 manufacturers or small manufacturers they need to be
8 addressed as a unit. And they need also obviously to see
9 certain benefits of these activities.

10 Currently the energy topic is really attractive
11 only for people who either look for mobility or who have to
12 pay really big bills like the server guys who are
13 entertaining huge farms in order to get all the cloud data
14 in the same place.

15 The other challenge that we see on a daily basis,
16 is if you have a great student with a lot of knowledge in
17 that space, perfect understanding these guys will tend to
18 join the Apples and the Googles of the world in order to
19 work on the nicest, newest, mobile devices. We need that
20 expertise also on the other side meaning on the plug loads
21 and IOT devices and so on. So here's a solution which I
22 would like to propose is could we weave the energy-
23 proportionality into the unified electronics ecosystem?

24 And this electronics -- I'm seeing a fridge from
25 five years from now also as electronics, because it will be

1 very smart, it will be connected to the Internet, and would
2 have plenty of data to report to you. How did it work when
3 it was bought? And what performance it delivers now,
4 because it has all the data, so it's a very smart system at
5 the cost of less than maybe a dollar per unit to implement
6 the microcontroller and the software.

7 So we would suggest that we work together to
8 expand the mobile efficiency ecosystem. This is a very
9 strong ecosystems, which a lot of money from all of us
10 going in that ecosystem, so why not attach to that
11 ecosystem the plug loads and other devices which are energy
12 sensitive? And try to steer that ecosystem together with a
13 huge benefit that everything that is new that is invented
14 in the mobile technology will, at least after a period of
15 time and after we determine the cost of that, will flow
16 into the ecosystem around plug loads.

17 So how to do that? One way is to combine carrots
18 and sticks. Technical standards help enormously the
19 business to be more profitable and to produce better
20 devices. That could be one way that we promote technical
21 standards, not only standards of minimum efficiency, but
22 also technical standards. Basically how things are done,
23 how does a device now report out its energy consumption,
24 which we can use for other purposes?

25 And, of course, I'm not here saying that the

1 Minimum Efficiency Standards and Regulations are not
2 needed, but they should be also presented in a way, so that
3 they do the possible, so that they motivate investment from
4 outside.

5 An example, which I already present a couple of
6 times, a thing also included at the Green Tech Leadership
7 Group event in 2013 is the VHDL Standard. The VHDL
8 Standard is a way how to describe and document the behavior
9 of electronic devices. So by 1981, the Department of
10 Defense was overcrowded with tons of new electronic
11 equipment. And they decided to fund the development of a
12 new standard to document the behavior of these devices. It
13 was not a regulation, it was a technical standard aligning
14 the industry to do something together useful. The stick
15 was, of course, included. And that means that DOD from
16 that moment on will only buy equipment, which really has
17 the description of the behavior done under this visual
18 documentation. TI and a couple of other companies were
19 involved in the first ones.

20 Today the VHDL ecosystem is a \$10 billion EDA/IP
21 industry, mainly California based. And effectively every
22 single component of electronics you see on the planet needs
23 either to have a VHDL support or is generated using this
24 standard.

25 In that regard, what we did as AGGIOS, we worked

1 on a concept, which is called Unified Hardware Abstraction
2 and it originates from some of my previous research work on
3 languages for instruction set architectures. And
4 approached IEEE two years ago and said we have an idea for
5 this new unified hardware abstractions for energy-
6 proportional electronic devices.

7 At this moment, after nine months of work, we
8 have 40 plus experts from 25 companies including Broadcom,
9 the key supplier of chips for set-top boxes in the world.
10 We have Cisco, one of the key suppliers of complete
11 devices, Microsoft, Intel, a lot of these companies
12 involved, because they see a benefit for their business.
13 And they all agreed that the unified hardware abstraction
14 for mobile and plug loads based on the energy proportional
15 principle would be very beneficial.

16 So it is currently one of the most effective and
17 most active IEEE efforts. And I'm very happy to say that
18 SDG&E recently launched a project to explore its use for
19 customer premises IoT devices, because most of these
20 companies were mobile and plug load oriented. Now the IoT,
21 this the Internet of Things, companies are joining more and
22 more.

23 This is the website. You can see what our
24 details of these activities are and I'm happy to act as a
25 Chair at the moment, of this activity.

1 The other standard, which also touches I would
2 say very nicely on previous speakers is something which
3 started as a docketed half-baked document of ideas to the
4 Consumer Electronics Rulemaking in 2013, which people from
5 the California Energy Commission took to discuss at the
6 Pacific Coast Collaborative. And effectively, British
7 Columbia Ministry of Energy and Mines, BC Hydro and
8 Canadian Standards Association approved the development of
9 the seed document in which we will address one of the
10 points, which already was mentioned today -- the fact that
11 the computers, media players, gaming consoles, set top
12 boxes all converge in terms of functionality

13 Here's an example of a 1080p Netflix video. On
14 an Apple TV you will not consume more than 2 watts if you
15 do absolutely the same work, nothing else, on a gaming
16 console. This console will consume 73 watts and that was
17 already presented in the first presentation.

18 So what is the goal of this standard? It is to
19 really change the way how we build minimum efficiency
20 standards. On the left-hand side you see this is vertical.
21 It's per device, it's per equipment. On the right-hand
22 side we are saying why don't we unify these devices, which
23 pretty much have the same function. And by the way, 80
24 plus percent of the power in a gaming console is used to
25 watch video, not to do games. And that was one of the

1 reports, which was also published.

2 So our goal here, I think, can help solve the
3 problem of these miscellaneous plug load devices. That we
4 now treat them from the user's perspective and again that
5 will be coming back to what the first speaker spoke, Chris
6 Calwell, software is becoming dominant, because in five or
7 ten years from now pretty much all devices will look very
8 much the same, with the same interconnect, with the same
9 visuals, with the same communication capabilities. The key
10 difference will be the in the software. And interestingly
11 enough, this software will be downloadable and you can
12 change the purpose of your device just by downloading a
13 different software.

14 So to finish this talk here I would say from our,
15 of course objective perspective, plug loads are quite a low
16 hanging fruit for the Commission as well as for the
17 Department of Energy and can offer quite significant energy
18 savings. Why can I say that? These devices are extremely
19 intelligent, have all information in them, we just need to
20 unleash that and start using it for the energy efficiency
21 purpose. They already do it phenomenally for the gaming,
22 for calculation for your communication, but we need to
23 engage this enormous smartness of these devices to do one
24 small additional job. And this is to optimize energy.

25 Mobile efficiency is the path to follow. The

1 money, the interest, the sexiness of that domain is a
2 perfect -- and I would say unique occasion we have now --
3 to catch up, because we are now in the time where we have
4 quite still stand. (sic) Which means we were totally
5 occupied by mobile devices, it didn't increase massively
6 the energy consumption, and you will now see more and more
7 are coming -- the high-resolution TVs. Which will move us
8 away from the cloud and will bring us back to more
9 information, more devices in our home, because you cannot
10 feed a 4K TV out of your communication channel without
11 massive energy consumption in your home.

12 So energy efficiency is really possible to be
13 achieved by unified mobile and plug load components,
14 software standards and probably the best way of how to
15 impact the electronics ecosystem.

16 To conclude I would recommend that the Commission
17 takes sponsorship over key technical standards I presented
18 today and in this way, kind of start helping the whole
19 ecosystem, to move faster in the direction of energy
20 efficiency. Thank you.

21 MR. RIDER: Thank you, very much, Vojin. And
22 then again we'll take the questions and discussions after
23 the end of the Panel.

24 Next up we have Joy, if you could present.

25 MS. PIXLEY: I'd really like to thank the Energy

1 Commission for inviting us to come talk about the
2 importance of looking at users and user behavior as part of
3 understanding plug load efficiency.

4 The majority of the work that we've done so far
5 on the standards and codes has focused on the efficiency of
6 the plug load devices as they perform in standardized lab
7 conditions. And in a way that's really much easier for us
8 to get a handle on. It's harder to understand how are we
9 going to pay attention to what happens to those devices
10 after they leave the factory when real users bring them
11 home or bring them into the offices. And what are they
12 doing with them?

13 And potentially they're doing things that are
14 really reducing the energy efficiency of those devices. So
15 are they effectively installing them? Are they setting
16 them up the way that we expect them to? Are they enabling
17 the energy efficient features, all of the features that we
18 hope that they are? And if they are, what's the
19 persistence level of that? Do they get frustrated and turn
20 them off, do they unplug them? How long are they actually
21 doing what we are expecting they're doing in our idealized
22 scenarios?

23 And so I love this picture, the idea that we can
24 design the perfect beast and if it's not doing what the
25 user wants it to do we run the risk of them finding a way

1 of getting around it. So I'm going to talk more
2 conceptually right now, of how can we bring the user
3 behavior into this process.

4 One of the first things we would like to do is
5 move beyond this monolithic average user, who doesn't
6 really describe any real person out there. So if we look
7 just at, for instance, the number of hours of television
8 per day we've all heard that 5 hours a day -- it's actually
9 5 hours and 16 minutes to be precise. And if we only look
10 at differences just by age, very simple, we find that that
11 is accurate for people 35 to 44 on average. That's not
12 looking at the people who are 1 hours or 10 hours, but just
13 the average.

14 But it really underestimates the usage for older
15 people; it over estimates the usage for younger people.
16 And it doesn't say anything about how much each television
17 is being watched, because that television is in a household
18 that probably has multiple people in it. And how often are
19 those multiple people using that television or is one
20 person's five hours spread out over two televisions? We
21 don't know. So having more research into how these devices
22 are actually being used in the home will take us a little
23 farther into figuring out how efficient -- how they're
24 actually affecting the overall efficiency of the household.

25 This, I think, is the big part. And that is

1 learning from how the users are actually using the devices
2 in real-life situations. So if we study that we can get
3 two things. First off, we can verify whether or not the
4 energy savings that we're predicting we will find by
5 looking at the laboratory tests are actually being realized
6 in real-life situations.

7 So we can imagine that a device that performs a
8 little bit better than another one in a lab condition,
9 might work much worse than the other one, in a field
10 condition. There's something that's more complicated about
11 it, the users can't figure out how to use it. And so if
12 you're this person that's great -- if you're the person
13 whose device is doing a little bit better in a field test
14 that's great. If you're the person whose device is doing a
15 little worse, we go on to the next step here, which is that
16 the more we know about why users are not using the energy
17 efficient features or they're misusing them or they're
18 stopping using them, then we can take that information and
19 redesign, rethink our designs. So that whatever it is that
20 the users are trying to do, they can just smoothly
21 automatically do that without having to unplug or disable
22 the energy efficient features.

23 And so I'm saying this is a good thing to do, but
24 the flip side to that is if you're telling me I don't know
25 how the users are really using my device once they get them

1 home, then that's a source of concern about the accuracy of
2 your estimates for how efficient those machines are at
3 home.

4 So here's some examples. At CalPlug we did a
5 study. We asked 2,000 people if they had changed their
6 power management settings on their computers what were the
7 main reasons for doing that? And 33 percent of people who
8 had office desktops said, "I changed my settings, because
9 the computer has to stay on all the time for automatic
10 updates and backups or for remote access." So they're
11 disabling sleep for this reason. That's telling us
12 something.

13 And you can say, "Well, why don't they use the
14 wake on LAN or there's software solutions. They can go
15 online. They can solve this problem. They can figure it
16 out." And some of them did talk to me and say, "You know,
17 we tried to do that. We couldn't figure it out." But I
18 think that's kind of a -- it's not a very productive way
19 for us as developers to think about that, because we're
20 asking the user to solve a design problem. And if the
21 user, it's easier for them to solve that problem by turning
22 the efficiency program off or by unplugging the energy
23 efficiency thing that's going to be our problem. So if we
24 can solve that problem to begin with, in the initial design
25 procedure, we're going to be better off.

1 Another issue, set-top boxes. I think Brad was
2 the one who mentioned earlier the 5 watt, 5 second. Before
3 there was a 5 watt, 5 second there was how many seconds do
4 we need? So with the set-tops like with a lot of other
5 devices you run this problem that on the one hand you want
6 the devices to go as deep into low power states as
7 possible, for as long as possible, but the user wants that
8 to be available immediately as soon as they show up. So
9 how much of a delay can we get away with?

10 So this is one of the things we tested in the sim
11 labs. We have a simulated living room environment and
12 we're monitoring them on their remote controls. And we're
13 testing how long is it between the time that they click go
14 and the time that they go, "Come on, why isn't it going?
15 Why isn't it going? Why isn't it going?" And that's the
16 frustration threshold and you do not want your device to
17 get to the frustration threshold, because that's where you
18 start risking the person saying, "Whatever it is that's
19 slowing this down I'm to unplug it. I'm going to disable.
20 I'm going to get rid of it. I'm going to go on Amazon and
21 say nasty things about this product."

22 So what we found for instance, is that 15 seconds
23 you have a lot of people getting very frustrated, 5 seconds
24 was the acceptable time. That's how we ended up with 5
25 watt, 5 seconds. So that's the kind of thing that we could

1 do conceptually.

2 Another part of the design that really needs a
3 lot more attention is the user interface. And the first
4 aspect of that is can the user figure out what they're
5 supposed to be doing? And this is a real problem when
6 we're talking to engineers and computer scientists, because
7 you guys are up to your elbows in this device. It makes
8 perfect sense to you, but we need to go out and talk to the
9 real users and find out do they think the interface is easy
10 to use? Do they understand what the efficiency options
11 are? Do they understand how to activate them? Is it
12 giving them the options that they actually want, because if
13 the answers to any of those questions are no, they're not
14 going to be used.

15 So here's another example. When we asked people
16 in the survey whether sleep was enabled on their computers
17 said, "Yeah, I think it is." When we did a follow-up study
18 and looked at a subset of office desktops we found that the
19 majority of them, sleep was not in fact enabled. So we're
20 trying to understand what the disparity is here. And what
21 we found is among other things, that the people who were
22 wrong about whether their sleep was enabled they were lower
23 in knowledge about computer power management, they had less
24 control over their settings, they hadn't changed their
25 settings. So we're building this theory that these people

1 are legitimately confused about whether or not sleep is
2 enabled. They really think it is, and it's not.

3 Well, how can that be? Well, let's talk about
4 the user interface of Windows 7 for just a moment. Dun-
5 dun-dun. (phonetic) Okay. So Windows 7 was what the
6 majority of the people who were using Windows had in this
7 particular thing. So for instance, if you're trying to
8 figure out how to change my sleep settings or see what they
9 are there's no immediate button, right? So you go to
10 "control panel" and I don't expect you to see all these
11 words, just trust me, there is no work "power" or "energy"
12 or "sleep" anywhere on this page. What do you click? You
13 click "hardware and sound" obviously.

14 And then you get to the next section, which is a
15 list of power plans and this actually is kind of clever.
16 You have "power saver," "balanced" "high performance."
17 Each one of them has a description. You have an idea that
18 there's a set of settings behind this. And I just want to
19 click on one of them.

20 The problem is -- so here we have "balanced" and
21 it's checked. So I think that my computer is set in a
22 nice, balanced way. Here's the problem. You see uh oh,
23 somebody has changed it from 30 minutes to sleep, which is
24 the default for this to never sleep. And in fact, this was
25 the majority of what we found. So you can see how it is

1 that people are again, legitimately confused about what
2 they're settings are and whether they're going to sleep.

3 Now, the user interface is going to be different
4 for other kinds of devices than for computers. But any
5 kind of device that you have that's attached to your
6 television where you're seeing some sort of user interface
7 on the TV, any time you've got some sort of digital display
8 you're potentially running into a problem where you are not
9 communicating to the user as well as you think how they're
10 supposed to be setting up the device.

11 The other aspect of user interface is, is the
12 device communicating to the user how much energy is using.
13 And I think Brad also mentioned this earlier. So first
14 off, the power state itself, but also the energy usage
15 itself. So we know this graph over here, that the more
16 information we give people about how much energy they're
17 using in their household, the more of a response we see in
18 terms of them actually changing their behavior and doing
19 something about it. And the most effective type is real
20 time feedback about exactly what's happening right now,
21 broken down by the appliance or the device level.

22 So that's what we're trying to aim at here is, is
23 there anything about the device that can directly
24 communicate that energy usage, is going to be an advantage
25 to us.

1 And then the final issue is then, the devices
2 themselves responding to the user behavior. So if we look
3 at this graph here, there's a lot of devices in each
4 person's house. Leaving it up to the user to remember to
5 turn all of those off is just not going to happen. So if
6 the devices can learn, like the Nest Thermostat has, to
7 keep track of what the users are doing, to respond to that,
8 to come up with some sort of automatic settings then that's
9 going to improve the situation.

10 However, any sort of estimates of savings really
11 should involve these field tests in realistic conditions.
12 Because here you have the ultimate in user behavior
13 problem, you have some people who have very regular
14 schedules where that pattern is going to be very easy for
15 them to find, some people who have normally regular
16 patterns, but maybe it's different on the weekends. And
17 some unknown proportion of people whose schedules are so
18 chaotic that maybe it's not saving any energy at all and
19 how are those people experiencing these devices? Are these
20 actually more problematic than they are helping?

21 And then a final issue here is when you have
22 these devices that are hooked up with -- what's the word
23 I'm looking for -- sensors, trying to figure out whether
24 anybody's in the room, eventually we're going to get to the
25 point where you have five or six devices in your living

1 room that all have sensors. And they're all keeping track
2 of whether there's somebody in the room. If we can get
3 devices to play nicely with each other, in some sort of
4 universal way of talking to each other, then this aspect of
5 responding to the user behavior can be coordinated among
6 all these different devices. And we don't have to have all
7 of those monitors be on all the time.

8 Okay. So to summarize in terms of how can we
9 incorporate the concept of user behavior into these kinds
10 of recommendations for standards? First off, to improve
11 the realized efficiency of the devices much better, by
12 understanding more about how the users are really using the
13 devices. Secondly, to improve our tests and our estimates
14 by doing more tests in real-life situations. How we users
15 again are really using them. And finally, to work more on
16 improving the user behavior itself; I think we can really
17 try to do that with the devices. Not just in terms of
18 doing better with the design, so that the devices do what
19 they want them to do, but also in terms of giving them
20 useful feedback about the energy consumption, which will
21 empower them to make better decisions. Thank you.

22 MR. RIDER: Thank you, Joy.

23 Next up we have Tony.

24 MR. BRUNELLO: All right. Thank you for inviting
25 me today. This is the most presentations I've seen in two

1 hours in a long time, so apologies. I think I'm also going
2 to blow through. I think a lot of what has been already
3 mentioned has already been stated, I think, really well.
4 And really, there's three points that I'm going to
5 eventually bring up, but more importantly at the beginning
6 is I want to make sure that we're very cognizant I
7 appreciate the invitation to speak today. Commissioner
8 McAllister and staff, you said some very brief comments
9 that I think we would very much align with you on.

10 Title 20 is tough. It's necessary, but it's
11 tough and I appreciate that you're trying to figure out a
12 way that can rethink how to get all the energy efficiency
13 benefits from consumer electronics. And all the people
14 that I've talked with, that know this topic, they're here,
15 they're in this room. So that's great for the engagement.

16 Second is incentives, I fully agree and I'll kind
17 of end with that, of some potential opportunities. But
18 it's going to take some work and it's not in front of us,
19 but I think it's really important as we move forward.

20 And I'm also encouraged by a \$10 million research
21 fund. I very much hope that that can hit on some of the
22 topics I know Vojin and Joy have already mentioned, and
23 some of the other folks before.

24 So Greentech Leadership Group, I'm the Executive
25 Director. One of the things that we focused on in the last

1 five years has been a Smart Electronic Initiative. It's
2 largely been semiconductor manufacturers or other folks
3 that put a lot of their technology into mobile devices.
4 And so we've been engaging in Title 20 and I'll leave it at
5 that.

6 Much of the work that we are doing today is what
7 I'll end on, is on the distribution grid. We think that
8 some of the upgrades that the utilities are working on
9 right now with all the energy agencies is really, as we
10 look three or five years down the road, has to be much more
11 linked, which is funny because I think Vojin and I -- I'm
12 finally connecting on the things that he's been presenting,
13 are very much aligned I think where the state is headed.

14 So just the three points is one, looking at
15 mobile devices and the energy efficiency opportunities. So
16 the devices by themselves, we're seeing massive energy
17 efficiency gains year by year. So we should be figuring
18 out better how can we apply some of the efficiency
19 opportunities in the mobile space to more devices.

20 Second, really has already been talked about.
21 It's then looking at the network of these electronic
22 devices. There's got to be better communications amongst
23 these devices. And we've got to find that was stated in
24 the overview for today's workshop. How can we start
25 thinking about demand response or some more connected ways

1 to actually even help for the grid service that the
2 utilities need.

3 And third is there needs to be some connection
4 between the exciting work that's happening on the
5 Distribution Grid Planning effort with what we're talking
6 about today. They are two different worlds, so I'm not
7 even going to pretend that there's some good linkage right
8 now. But over the coming years I think in the research
9 there's some real opportunities -- that I think that these
10 need to be explored.

11 One of our companies that we work with quite a
12 bit is ARM Holdings. This isn't meant to be an
13 advertisement for ARM. It's more in the sense that they
14 are in many of the mobile devices that are produced. As
15 you'll see, just last year -- sorry, this got cut off --
16 but I think it was around 12 billion chips just by
17 themselves. So what they're seeing is that more and more
18 of these chips are going into all different types of
19 products. They have a massive share, over 40 percent of
20 the mobile home market actually has the IP from ARM in
21 them.

22 What that means for us is that ARM is really
23 focused on energy efficiency. I'll let you look at your
24 slides and go on their website to learn more. Again, I'm
25 not here to promote them, but in the sense that it's a real

1 opportunity to see where the mobile space is going, some of
2 the trends that are there.

3 And that with my last slide of thinking about the
4 device, one area where this is happening, is looking at
5 data centers. And in particular as you look at data
6 centers just that middle portion right there, this is one
7 example. This was a partnership between Paypal, HP and
8 Applied Micro using ARM's chip. And we can get you more
9 information on it, but in this one specific category the
10 basic premise is that by using a more energy efficient
11 system you can get almost seven times the energy efficiency
12 gains.

13 So this is just one product. We think there's
14 many more opportunities.

15 The second part I think we already have talked
16 about. Really there's so many more devices and more
17 opportunities for devices to speak with each other.
18 Anybody who is connecting their Nest, to try and connect it
19 to their Ecobee or some other device realizes the devices
20 don't speak well with each other. And each of the
21 companies have their own language of how to try and get
22 these devices to speak.

23 This is obviously a market problem, but it's
24 something that as we look at the state, how can the state
25 actually engage in this process. There's many land mines

1 in that and I wouldn't pretend that I'm the one that has a
2 solution. But as the trends are looking forward to having
3 more chips that can speak to each other, and with all the
4 efficiency opportunities of organizing these connected
5 devices in a way that I think that Alan Meier might even
6 speak about after this, but that way of actually just
7 having them all communicate to reduce energy use and
8 eventually do it at the right times.

9 Finally, I just wanted to kill you with my last
10 slide. So anyone who can read this, I will give a dollar
11 to after this. Most important is if you pay attention to
12 where the CEC and the PUC and the ISO are going right now,
13 the bottom line is that they are trying to optimize where
14 distributed energy resources should be placed on the last
15 portion of the grid -- that distribution grid.

16 So what is required of the utilities right now is
17 to start to begin a system that actually was kind of like
18 what Vojin had set up, of some way to first figure out what
19 is the capacity of the existing grid infrastructure. So
20 just figure out what we have and that's actually pretty
21 hard.

22 Second, is to talk about where can we identify
23 specific geographic locations that if you looked at all
24 different types of clean technologies and services
25 efficiency is one of those areas that can provide benefits.

1 But what is an optimal mix of these resources in specific
2 locations?

3 And then finally, as we're looking to really how
4 do we reach our greenhouse gas goals, this last figure is
5 really there are about 9,000 substations across the state.
6 I should never throw out numbers at the Energy Commission,
7 because this is where they begin. But I know that there's
8 over 9,000 substations that are across the state. And if
9 we had a perfect world over time we're really going to
10 start figuring out what is the optimal mix of these
11 distributed energy resources over time.

12 And so one opportunity that we're still a ways
13 away from, but I think it's a great research topic -- I
14 think it also is connected at the energy efficiency and
15 integrated demand side management proceedings over at the
16 PUC. But we need to start thinking about what if there was
17 an aggregator of multiple homes that somehow can link up
18 with consumer electronic products that may be able to
19 actually reduce energy use at the appropriate time. I
20 don't think we're there yet, but over time if there is some
21 incentives put in place I really think that there are some
22 opportunities that people need to explore more, that are
23 directly linked to frameworks that the state is engaged
24 with right now. So it's really a top down effort.

25 And I think through this plug load effort,

1 thinking about for the efficiency gains, somehow they have
2 to lock up, and again I encourage the CEC to try and do
3 some more work on that. Thank you.

4 MR. RIDER: Yes, thank you Tony.

5 Next up is Pierre.

6 MR. DELFORGE: So Pierre Delforge from NRDC. I
7 would like to thank the Commission for the opportunity to
8 present on this topic today.

9 So why does NRDC care about plug loads? What I'm
10 going to present is that we believe this is a critical
11 opportunity to achieve the state's goal and the Governor's
12 goal to double efficiency in buildings and to reduce carbon
13 emissions by 40 percent. And that we have a lot of work to
14 make sure that we leverage this opportunity, that -- you
15 know, compared to where we are today.

16 I think the first challenge that we have is to
17 know actually what are we talking about. I keep hearing
18 different definitions, people thinking of different things
19 dealing with plug loads. So is it just the devices that --
20 electronics that convert power from AC to DC, is it the
21 miscellaneous, and what is miscellaneous? What I would
22 argue is that we need to think about the plug loads in
23 terms of all the plug-in equipment, so everything that
24 plugs into the wall for two reasons. First, because I
25 think that's the most intuitive definition and also, and

1 more importantly, because from a policy perspective this is
2 how we can address this opportunity and not miss a major
3 part of it.

4 Basically plug-in equipment or plug loads as I'm
5 going to use it in this presentation are things which are
6 brought in by the occupants in the building, not by the
7 builder, not by the contractor, they can be installed, they
8 can be changed at any time. And they don't need a permit,
9 so we need to figure out how to get to get to the user in
10 terms of purchase, in terms of use or usage to be able to
11 reduce their consumption.

12 This is data from the Residential Appliance
13 Saturation Survey 2009, I think it's been presented
14 already, but I'd like to start with this, because it shows
15 that basically we're talking about two-thirds of
16 electricity consumption in the residential sector in
17 California. This is just the residential, it's not
18 commercial, and also we're talking about electricity, not
19 all energy. It doesn't cover -- a lot of HVAC is natural
20 gas in California, not electricity, so there's only a small
21 share for electricity.

22 But when we're talking about a clean electricity
23 grid this is what we're talking about. About two-thirds on
24 plug loads and if we want to achieve Zero Net Energy in new
25 buildings and increase the efficiency of existing buildings

1 we can't ignore it, this is a critical issue to address to
2 achieve these goals.

3 And this is not just an issue, which is -- the
4 data is 2009, it's a little bit old now and outdated, but
5 if you look at this chart that's based on the same data as
6 Tom presented early on, the Demand Forecast, this is
7 actually growing. This is about 70 percent of growth and
8 the rest of consumption and the rest of consumption is
9 pretty flat except maybe for electric vehicles. But most
10 of the growth today is in plug-in and miscellaneous.

11 And if we try and look at what's in this plug-in
12 and miscellaneous category actually most of the loads are
13 also themselves flat except of the miscellaneous category.
14 So I think we talked about it quite a bit early on, I'm not
15 going to go back into it in terms of what's in it. But
16 clearly I think if we want to fix the growth we need to fix
17 the miscellaneous or the MELs. But if we want to fix the
18 plug loads we want to fix the plug loads, I think we have
19 to look at all the plug loads, because we can't ignore the
20 38 percent of existing plug loads that are already
21 specified as unspecified.

22 And now, if we look at where we are today in
23 terms of savings, so this is looking at energy efficiency
24 savings from the utilities, the reported savings to some of
25 the IOUs, reported savings to the PUC. About 11 percent of

1 reported savings are (indiscernible) codes and standards
2 and that's just my estimate based on half of 22 percent.
3 Maybe it's a little bit higher, because I think in the
4 slide that Ken showed earlier on, appliance standards
5 accounted for more than building codes, but roughly maybe
6 between 11 and 13 or 14 percent. And programs were only
7 about 7.2 percent, so we're talking about 20 percent of
8 savings today come from plug-in equipment compared to about
9 two-thirds, about 60 percent, of demand.

10 So there's a clear gap and a clear opportunity
11 for us, an untapped opportunity largely, to achieve
12 additional savings. And the question is how do we do that.

13 So just to think about it, what are we talking
14 about here? What are the plug-in equipment that we need to
15 tackle? So the way I like to think about this is in three
16 major buckets and this is looking at the home, so all the
17 electrical equipment in the home you have the traditional
18 white good appliances that are well understood, we've been
19 working on those for a long time. You have the
20 electronics, which are many of them and we're starting to
21 look into them. We have no first standards on
22 (indiscernible) Energy Commission on the dockets. The
23 ENERGY STAR Program has been working on those for some time
24 already. And then you have the miscellaneous category,
25 which is a free-for-all catchall category, which has a huge

1 number of devices. Some large users, some small users,
2 some in many homes, some in very few homes and that's the
3 real challenge that we need to better understand today.

4 And just for completeness I've added another
5 category, which is not strictly plug-in. It's hard-wired,
6 but in terms of -- it also has electric components or
7 electric devices in the homes, and in terms of efficiency
8 opportunities a lot of them are similar in terms of what we
9 can do to achieve savings in these categories -- at least
10 in terms of the electricity consumption of these devices.

11 One of the reasons, it's not the only one, but
12 one of the major reasons for the high consumption of these
13 devices is what they call the idle load. And just a couple
14 of words, a couple of slides on a recent study that we did
15 on this issue, so the issue of how much energy is consumed
16 by devices when they're not being actively used in homes.

17 We performed this study based on PG&E data, so
18 thank you for sharing that data, through Stanford
19 University Sustainable Systems Lab and in partnership with
20 Home Energy Analytics. And we surveyed (indiscernible)
21 analyzed 70,000 smart meters and we went into ten homes to
22 do a detailed audit of standby loads or idle loads. And we
23 found on average that 23 percent of all California
24 residential consumption is used by devices that are not
25 actively used. So when people are asleep or away from home

1 that's about nearly a quarter of their energy consumption.

2 That cost households anywhere between \$200 on
3 average annually up to \$400 for people with higher marginal
4 rates, and about \$3 billion statewide, and the 6 million
5 tons of CO2. And all this for things, which have not
6 provided significant or any user value. So I think this is
7 right off -- this is one of the reasons why plug loads or
8 miscellaneous is increasing and I think a large opportunity
9 for energy savings.

10 And if we dive down to one of the homes, just as
11 an example, you can see that concept of the long tail. So
12 we have a lot of devices, an average of 65 -- and this
13 slide's a little bit less -- but which use a small amount
14 of energy. But when you add them up together they're more
15 than half of the energy consumption. And the few that use
16 a lot of energy, they're different in every home, so in
17 aggregate you can't go up to the top one and say, "Hey, I'm
18 going to do this one, I'm going to solve a lot of the
19 problem."

20 The top offender product that we like to use for
21 many things is not sufficient for this type of problem. We
22 need a horizontal or cross-cutting approach like we've
23 already done with battery chargers and external power
24 supplies where we address many devices at the same time
25 setting standards for standby or to power down and this

1 type of thing. But I think that's one of the critical
2 solutions that we can address to this particular problem of
3 idle loads.

4 COMMISSIONER MCALLISTER: Pierre, can I just jump
5 in for clarification here? So in this particular house, I
6 mean it seems like the top offender you could put an LED
7 where the halogen is and you could put the recirc pump on a
8 timer and you'd actually save quite a bit of energy. And
9 those would be by far the top offenders. But you're saying
10 that all the tail we need to kind of attack as well, right?

11 MR. DELFORGE: Yes, that's right. And also the
12 recirculation pump is the top offender on this one, but
13 you're not going to find it in many of the homes. So if
14 you look at it in aggregate it may not be one of the top
15 offenders. So, you know, yes I think there are a few top
16 offenders like recirc is one good example of something that
17 we should do something about, but if we want to get to a
18 significant portion of the savings on idle load I think
19 we're going to have to do more than just a few top
20 offenders.

21 Moving on to the commercial sector, I'm not going
22 to spend much time on this, because Brad covered it with
23 the same chart. The only point I want to make is this is
24 even more complex in the commercial sector, because the
25 variety of devices is even bigger. There are a number of

1 subsectors that have different types of devices, note the
2 devices for restaurant kitchens and medical devices and
3 hospitals and IT equipment and data centers.

4 These are all different plug loads that need to
5 be addressed differently. And so I think we have a similar
6 problem magnified in the commercial sector. Thankfully we
7 have some of these devices that are fairly common like
8 computers and displays we're going to find in most of the
9 sectors and we can still address through our traditional
10 vertical approaches.

11 I want to say a quick word on data centers. I
12 think it's an important and sometimes misunderstood or
13 overlooked issue on the commercial side. I think there's
14 often a belief that the problem with data centers are the
15 large data centers, you know, the Googles or the large
16 corporate data centers. If you look at the data the large
17 cloud server farms are only about five percent of energy
18 consumption of data centers in the U.S. And the corporate
19 data centers on which we spend most of our attention
20 through Title 24 and through HVAC measures are only about
21 20 percent of that pie. Where most of the data center
22 energy consumption is spent is in the small server rooms
23 and closets, embedded into office buildings. And they are
24 a plug load like any other and most of the opportunity
25 there is actually not so much -- I mean, there's some

1 opportunity in cooling, but a lot of the opportunity is in
2 IT equipment efficiency and in operational efficiency:
3 virtualization, utilization, moving to the cloud. So these
4 are things that are a great and a very important
5 opportunity for energy efficiency programs -- not so much
6 for appliance standards although some of that is needed
7 too.

8 All right, I covered that. I want to go back to
9 the home picture. And I think the good news here is that a
10 lot of the solutions exist or can be -- are close to being
11 deployed on the market. I'm (indiscernible) more for the
12 record, we don't need to cover this all in the
13 presentation. But I want to mention and go quickly through
14 each of the categories in appliances. Despite the many
15 years of standards and ENERGY STAR programs, there is still
16 a huge amount of opportunity, low-hanging fruit keep
17 growing back.

18 You know, on refrigerators for example, which
19 have been regulated for nearly 40 years if you look at DOE
20 and NREL's research there's still massive amounts of
21 efficiency opportunities on refrigerators. I think though
22 there's still a large opportunity there mostly through
23 appliance programs, because California is preempted from
24 doing standards, because of the federal standards, but the
25 California Energy Commission can also work with DOE to help

1 improve the current federal standards.

2 On electronics, I just want to reinforce what
3 Vojin said in terms of the huge opportunity to bring mobile
4 efficiency on every plug-in device through technology
5 standards, through efficiency standards, through programs.
6 There's, I think, we need a whole suite of tools here and
7 there's a massive amount of savings opportunity.

8 On miscellaneous there's a number of things we
9 can do. I think standby load, I've mentioned that. Power
10 management controls, energy data analytics to be able to
11 use this modular data, which is a new tool that we have.
12 And give this information that allows us to target which
13 are the homes which have problems or opportunities for
14 savings. And how can we reach out to them directly.

15 Energy reporting, Chris mentioned that and Vojin
16 as well, and I think that this is a very important -- you
17 know, we think a great opportunity. User behavior, Joy
18 talked about that and a lot of that can be applied to the
19 hardwired devices as well.

20 I want to finish my presentation more on the
21 solution side. On a "what can we do to achieve this?"
22 Obviously, the challenge that we have with plug loads is
23 that we have a huge variety of plug loads, some of them are
24 small, many of them are small energy uses, but in aggregate
25 they're huge. And the market in some -- for some plug

1 loads the market evolves very rapidly, so it's kind of
2 difficult. You know, we have to be very quick in terms of
3 both programs and standards.

4 But I believe that the tools that we have, the
5 framework we have with R&D programs and standards, can work
6 if we apply it a little bit differently to what we've done.
7 First, I think we need to focus on the market
8 transformation using all the tools together, so that -- you
9 know, we need standards, but we need programs to compliment
10 the standards to both -- you know, before we implement
11 standards for code readiness. And then after that to
12 compliment standards and get ready for the next cycle we
13 need to do them quickly, we need to do them in a horizontal
14 manner whenever possible.

15 And so in a more strategic level I think we need
16 to set targets. You know, the analogy of a road trip, if
17 we are going on a road trip and we have the car we know
18 roughly which direction to go. But if we don't know where
19 to go exactly and we don't know when we need to get there
20 we are unlikely to get there on time.

21 So I think we need to set ourselves a real goal,
22 adjust our resources, our resource levels, based on this
23 goal. And do some planning and adjust our priorities to
24 get to where we need to get to achieve and to help achieve
25 the state's energy and carbon reduction goals.

1 The second strategy I think, is we need to ensure
2 that our regulations, and that's mostly for the CPUC, are
3 unleash the power of the utilities to do market
4 transformation in terms of how to credit them and how to
5 encourage them. And, you know, I think we're not there yet
6 and I think there's a lot of work to do in this area, so
7 that programs can really be put to bear on this issue.

8 And the last one is I think clearly we need to
9 have the resource level that we need to address this
10 magnitude of opportunity. And I think, you know, you
11 mentioned Commissioner McAllister, the lack of resources or
12 no, the limitations of resources to address so many
13 opportunities. I think clearly this needs to be a priority
14 if we want to address this issue. Thank you.

15 MR. RIDER: Thank you, Pierre.

16 Did you have any questions, Commissioner
17 McAllister, for any of the panelists?

18 COMMISSIONER MCALLISTER: I just wanted to make a
19 comment and maybe see if folks had any additional ideas in
20 keying off of something that Tony said. It was a theme --
21 I was over this morning at the Statewide Energy Efficiency
22 Forum that is mostly local governments. And some of these
23 issues came up, not in the context of plug loads, but
24 really just the grid of the future, the distribution grid
25 of the future.

1 And, you know, I agree there's incredible
2 technology out here and we've thought -- in the confines of
3 Title 20 we thought, "Okay, well how do we get grid
4 responsiveness to (indiscernible) responsive capability,
5 those sort of additional functionalities, into plug loads?"
6 Can we use a regulations vehicle for that or what's the
7 best way to do that?

8 And similarly, in the distribution grid all that
9 functionality for management, active management of the
10 distribution grid, that you've been doing really great work
11 on -- and I really like what the more than smart effort has
12 turned into over the PUC.

13 You know, so there are all these technologies
14 available that can help us manage energy, but how do we
15 drive those into the marketplace in a way that creates
16 value that's monetizable, right? That's really kind of
17 what it's all about, because like you said we have kind of
18 one -- we have a hammer, but not everything is a nail. And
19 the marketplace could be more -- could act in a more subtle
20 way and could kind of move forward, hopefully without a
21 whole lot of regulation.

22 So, you know, what is the structure, the
23 regulatory or statutory legal whatever structure that will
24 allow or drive those sorts of changes? Like Vojin was
25 talking about that not just on efficiency per se, but on

1 this grid responsiveness. It's got to create value
2 somewhere otherwise we can't justify that it's cost
3 effective and the marketplace isn't going to adopt it,
4 because it doesn't create value for customers. So like
5 what is the special sauce to link the individual device up
6 to the through-rates to some kind of aggregation or some
7 kind of a monetize-able value, you know? Thanks.

8 I'm all for having a discussion, I just am not
9 clear that it's actually at this Commission -- you know,
10 where does that conversation need to take place in your
11 sort of view in how things operate in Sacramento say, just
12 to be perfectly blunt.

13 MR. BRUNELLO: Yeah, no my quick response is just
14 factually what's happening at the PUC right now is there is
15 no clear discussion of devices to grid services yet. And I
16 think in one way it's on purpose, so at the PUC they're
17 looking at what are the grid services that potentially
18 markets can be developed around? So that's where they're
19 looking at voltage resiliency reliability. So you'll see
20 over the next year I'd say that there may be new markets.
21 If you go at 30,000 feet of the services that are needed to
22 keep the lights on and hopefully use the existing grid
23 infrastructure.

24 The next step is once those are defined is
25 figuring out how do you meet those services. And so that

1 was that horrible graph at the end. That there needs to be
2 both a mix of what DER services can help meet that with
3 what tools. And so if you talk about efficiency, everybody
4 in my world on the political side, is talking about
5 performance-based efficiency. Period. And I have no idea
6 what that means in terms of I saw the solicitation that was
7 put out by SEE last December; that's about as far as people
8 go.

9 It's not the panacea, but something's in that,
10 that as utilities are looking to procure more services to
11 meet their needs -- and they may move to more of a wires
12 company -- that's where I think what's interesting over
13 time is that there's got to be some smart companies that
14 are out there already. We work a lot with the energy data
15 companies through our mission data effort, but there's got
16 to be more efforts when they see an incentive to aggregate
17 more at the home or business level. You know, being able
18 to reduce the energy use and get paid for it at the
19 appropriate time.

20 So that's kind of a pathway of -- I think we're
21 still a couple of years out, but I think at least what
22 people are excited about, that's it. If that makes sense.

23 COMMISSIONER MCALLISTER: Yeah, that does. I
24 mean, a corollary is back in the day we had -- there was a
25 market incentive to become lighter as we were -- you know,

1 ten years ago when everything was moving mobile. Now we're
2 kind of here and we forget what it was like back then, but
3 everybody was lugging around these big heavy laptops,
4 because they were incredible. They got hurt, they burned
5 your legs, you know? And like they crapped out on you all
6 the time and they weighed ten pounds and they were an
7 incredible piece of technology, right?

8 But they had a really clear incentive to make
9 batteries better, to make low power electronics, and make
10 the power supplies sort of small and portable. And so all
11 that stuff sort of drove the marketplace in a way that
12 regulation in that category wasn't needed, but today how do
13 we -- what is the market imperative, right? What is that
14 incentive that sort of we can leverage to get the
15 technology developed and into the --

16 So I guess my point on that was industry, all the
17 players got together: the Compaq, HP, Dell, all of those
18 companies got together and decided on some standards around
19 batteries and how they would be treated and how they
20 interacted with the device. And sort of what that little
21 ecosystem looked like for energy efficiency and
22 performance.

23 And they had a clear incentive to do across the
24 industries. And so is there -- in terms of grid
25 responsiveness and the electronics that are necessary to

1 enable that kind of communication, communication protocols
2 themselves, and all that like how can we as a state
3 facilitate, but not own that? Because I think if we own
4 it, it's a done deal. If we facilitate it, it could be
5 really great, so that's a corollary to that monetizing the
6 benefits.

7 But it's also there's also got to be some
8 standardization the industry probably has to drive, so what
9 does that look like? I mean, I know Chris has thought
10 about this a lot more than I have and some of the others
11 here on the Panel. I don't know if I ended up with an
12 actual question there.

13 MR. CALWELL: Yeah, this is Chris Calwell from
14 Ecos Research.

15 I guess I was gratified and sort of encouraged to
16 hear a lot of people mentioning energy reporting by various
17 terms, because if the distribution of plug loads in the
18 house follows that sort of long tail pattern that you saw
19 in Pierre's slides, you're not going to be equally
20 effective at reducing the energy use of all those devices.
21 But you don't need to be either. You can get most of the
22 savings from some of them if you know which ones are the
23 worst.

24 And I appreciated Pierre saying that you can't
25 just decide, for example, that recirculation pumps are the

1 problem and go attack that, because it's only true in some
2 houses as would be the case with TVs in other houses, set-
3 top boxes in other houses, network equipment in other
4 houses. And so why not use California's regulatory power,
5 not just to specify that products get more efficient over
6 time, but that they tell us what they're doing. And that
7 you then can act on that information to decide if your
8 utility incentive program was cost effective. And to
9 decide if you need to target new products in the future
10 with your standards, because all of a sudden they're
11 telling you from the field that they're using more energy
12 than you think they are.

13 We also have a system both here in California,
14 and at ENERGY STAR where both agencies need to do a request
15 for data to industry, which is time-consuming and often
16 yields data that are already too old to act on by the time
17 your specification might take effect a year or two in the
18 future. Why not have the products continually telling you
19 themselves how much energy they use in the field and then
20 specify on that basis?

21 COMMISSIONER MCALLISTER: Are you aware of any
22 regulatory proceeding anywhere that is working through that
23 issue? Or a communication, you know, self-reporting and
24 communication? You know, you mentioned Diane's report, how
25 like in Europe or is there anywhere where they're having

1 this sort of conversation, sort of trying to put standards
2 for that kind of communication and reporting in place?

3 MR. CALWELL: I was going to ask any of the other
4 panelists if any of the IEEE processes might touch that. I
5 mean, I guess Commissioner, I'm inviting you to be that
6 one.

7 COMMISSIONER MCALLISTER: I hear you, but I want
8 to build on somebody else's work, if possible, as well.

9 MR. CALWELL: Well, in my travels people
10 frequently say, "Well, once California does it, we'll do it
11 too." And so it is a circle.

12 Anybody else know about standardization efforts
13 in that regard?

14 MR. ZIVOJNOVIC: So, if I might comment? This is
15 a very good point. I really hoped we will be having this
16 discussion.

17 There is an IEEE 2030.5, which basically
18 establishes the full communication between all devices and
19 custom (indiscernible) side. And the key motivation is
20 really demand response, but demand response really cannot
21 work properly if you don't know what this device is doing.

22 Now, it's going to be hard to get it going on
23 some of the, say older, devices we have. But for example,
24 car chargers is a phenomenal opportunity to unleash that
25 potential, because this is what you already have. You have

1 for your Tesla or whatever, a bold car, you mostly have a
2 kind of app (indiscernible) that. So the full
3 infrastructure is there. Once it's in the -- Tesla has an
4 NVIDIA Panel, so like a NVIDIA table, it's just integrated
5 into the car, software is there, hardware is there.

6 The next step is really to standardize that under
7 the 2030.5. I think EPRI is very involved in that and
8 basically enabled that across all the devices. So we can
9 then, what we just here discussed, have this information
10 available and then yes there will be a privacy concern.
11 But we're already giving so much of our privacy from these
12 devices, so I think in the proper legal conditions that
13 could be presented anonymously to the users of that
14 information.

15 COMMISSIONER MCALLISTER: Thanks, Vojin.

16 Kevin Messner.

17 MR. MESSNER: Kevin Messner, on behalf of the
18 Association of Home Appliance Manufacturers.

19 So NIST, well it's not NIST now, SGIP is the
20 clearinghouse for trying to get this smart grid in our
21 interoperability panel. So it was at NIST, now it's spun
22 off, so they're looking at all these communication things
23 and protocols in trying to get a consistent basis through
24 their (indiscernible)

25 COMMISSIONER MCALLISTER: What's it called again?

1 MR. MESSNER: It's SGIP, it's a Smart Grid
2 Interoperability Panel -- Protocol -- or whatever the P
3 stands for. But it was at NIST and then they kind of got
4 it through its nascencey and now it's its own standard kind
5 of development protocol. But it's a clearinghouse where
6 all the protocols were WiFi, Xbee, you get updates and
7 Green Plug and everything is done and it's all cleared.
8 The ENERGY STAR for the Smart Connected relies on that SGIP
9 to get everybody talking the same language.

10 But we asked NIST back four years ago if they
11 would pick a standard, because we're not going to pick one.
12 Nobody wants to pick one, because you're going to have
13 winners and losers. NIST wasn't going to pick one, so
14 nobody's going to pick one. And so you have SGIP to try to
15 (indiscernible) be in that Beta/VHS kind of mode for
16 awhile.

17 COMMISSIONER MCALLISTER: Okay. So that's not an
18 unfamiliar problem, but at some level somebody's got to
19 pick. You know, we've got to standardize or we're just
20 imposing a whole bunch of additional costs on everybody.

21 MR. MESSNER: Yeah, but if somebody picks it's --
22 nobody will pick -- maybe CEC will, but nobody will pick.
23 So the market will flush it out eventually. The thought is
24 that the market will flush it out and then there's a
25 question of well you have the USB ports, how do those

1 become standard by everybody doing it. And then there's
2 the -- so but right now it'll -- like BETA/VHS. We pick
3 the market -- ended up picking.

4 COMMISSIONER MCALLISTER: Thanks.

5 MR. GHATIKAR: Real quick, not meaning to take
6 too much time, Rish Ghatikar from Greenlots.

7 I worked on this problem of standardization at
8 Lawrence Berkeley National Lab for almost eight to nine
9 years, part of the DRC.

10 I think to your question, there are two parts to
11 it. One is standardizing the energy reporting information
12 itself and making sure that the energy reporting
13 information is done by everybody that implements those
14 standardizations.

15 I think going back to the standardization itself,
16 there is the Green Button data that is mandated. A lot of
17 utilities like PG&E and vendors like Honeywell are
18 implementing it. So Green Button is one I would suggest
19 where -- it's primarily for commercial buildings. It
20 hasn't been applied on the plug loads in appliances yet,
21 but it could be, because the energy usage information is
22 going to be very similar.

23 So standardization will help quite a bit in
24 developing third-party applications in businesses for
25 energy efficiency and (indiscernible) response.

1 COMMISSIONER MCALLISTER: Can I just ask quickly,
2 so I'm familiar with Green Button sort of at the whole
3 building or the meter level. I guess you're saying it's
4 capable of reaching into a building and sort of having
5 multiple devices transmitted through that?

6 MR. GHATIKAR: It has the potential to be
7 expanded to that. There is also an initiative by NIST for
8 a Facility Smart Grid Information Model, FSGIM, which also
9 is important. It goes into the device level to get
10 information from HVAC systems or lighting control systems.
11 You can think about that similarly in the plug loads also.
12 I'm not aware of any requirements where everybody has to
13 report it to some entity whether it's a public entity or
14 utility or some entity. But I think that's where the CEC
15 can make sure that any devices that are plugged into our
16 network and connected have the ability to report the energy
17 usage information if needed to. Thank you.

18 COMMISSIONER MCALLISTER: Go ahead, Alan.

19 MR. MEIER: I'm Alan Meier, Lawrence Berkeley
20 Lab.

21 I just wanted to address your question about what
22 should the state be doing? And I think what we saw
23 actually is that the best investment can make is as far
24 upstream as possible in ensuring that the technical
25 standards are designed and allow for energy efficient

1 operation. And this is an area where the technical
2 standards, to put it crudely, are owned often by the
3 manufacturers. And there's nobody there saying, "Hey, what
4 about energy efficiency?"

5 And I'm glad you're nodding, because I think
6 that's what you were really saying too. And I believe that
7 this is the best investment that the Commission could
8 implement are long-term commitments with the technical
9 experts, some of whom are in this room, to be on those
10 committees. And, you know, there's a saying that the devil
11 hides in the details. Well, there are so many devils in
12 the technical standards areas and in those committees. And
13 yet, we need somebody to expose those and bring those out
14 into the public, so we can reduce energy (indiscernible)

15 COMMISSIONER MCALLISTER: To exorcize those, is
16 that what you're telling me?

17 MR. MEIER: Yeah, we need some exorcizing. Thank
18 you.

19 COMMISSIONER MCALLISTER: Thanks. Ken, do you
20 want to --

21 MR. RIDER: Yeah, well I do have a few questions.
22 So that I mean -- and this (indiscernible) which is I was
23 going to ask what are the first steps? And then I think
24 what you were -- what translated in what you were saying
25 is, is how do we ask for what we want from the community in

1 a way that we're going to get it? We have the hammer, we
2 can say, "You have to do it." And then they have to go off
3 and figure out how to do it and that's the Title 20 way.
4 But is there another way to ask? So I won't re-ask that
5 question.

6 On the power management -- so you identified an
7 opportunity in the power management of Windows 7, same kind
8 of idea, what would you see is a first step to trying to
9 solve -- this is a little bit different problem. It's not
10 a standards problem, so much as an interface problem. What
11 would you suggest for a first step to try to tackle that?

12 MS. PIXLEY: The user interface problem -- well,
13 it's clear that people are having a hard time just finding
14 where the settings are. So I have some ideas on how we
15 would change the user interface. I'm not a user interface
16 expert by any means, but there could be say an icon on the
17 bottom of your screen that tells you whether your computer
18 is set to go to sleep. There could be -- for instance,
19 your computer is constantly reminding you, hey you don't
20 have backups set up. Hey your antivirus needs to be
21 updated. Is there any reason why it couldn't say hey,
22 you're computer isn't set to go to sleep?

23 Now, the potential there is that that would annoy
24 the users, but we haven't tested that. So the question is
25 would it save more energy than it would annoy the users?

1 And that's the kind of thing that we would set out to say
2 well, here's a couple of different levels of different ways
3 of using the user interface. And how can we test that in
4 real-life situations and see whether or not that's leading
5 to a better result. And I would definitely get away with
6 de-customizing the profiles.

7 MR. RIDER: So let me sharpen the question a
8 little bit more. How would you -- so how could the
9 Commission get to getting to the answer to all of this
10 stuff? Because obviously we're not going to sit in a room
11 and figure out where the icons go and things like that,
12 so...

13 MS. PIXLEY: You're not?

14 MR. RIDER: No, well I don't think so. If I'm
15 told to I will, but --

16 MS. PIXLEY: That is a harder question, you're
17 absolutely right.

18 MR. RIDER: I mean, do we need to do research?
19 How do we ask for that? Do we just ask Microsoft, "Hey,
20 can you?" How do we do it?

21 MS. PIXLEY: I'm not sure how you could ask
22 Microsoft. I think the idea is that we're holding people
23 responsible for the energy efficiency of the devices that
24 they are selling, if part of that energy efficiency is
25 because of the software that's going on there then whoever

1 is selling that device needs to somehow negotiate that with
2 the people who are putting the software on it or come up
3 with some other sort of software solution.

4 So again, the idea is that if we're testing
5 what's happening in the field, and then bringing that back
6 to be a realistic portrayal of the energy efficiency at the
7 point of purchase -- so does that answer your question?

8 MR. RIDER: Yes, thank you.

9 MS. PIXLEY: Yeah.

10 MR. RIDER: Vojin, I had a question for you on
11 2415, the Standard, so what is that going to enable us to
12 leverage here? I understood that you were working on a
13 standard, but it wasn't as clear what are we going to be
14 able to get out of this. And then as a follow-up to that,
15 how can the Energy Commission take advantage of that
16 standard.

17 MR. ZIVOJNOVIC: So IEEE 2415 is a formal
18 description of a device, which can be used for different
19 purposes: for integrating IP components, for verification,
20 for synthesis of the software and so on.

21 One of the key, for example, activities of the
22 moment is the unification of the power states of the
23 devices, so that we have a clear definition of what is
24 "asleep," what is an "idle?" And we will not call it sleep
25 idle, it will be identified through some quantification.

1 Very often it's latency, power consumption, terminal
2 characteristics in that state, necessary readiness elements
3 and so on.

4 So I can tell you what is currently in it for the
5 electronics industry. It is the ability to prototype and
6 develop most efficient devices in the shortest period of
7 time, so that they can say I need a Fie, (phonetic) which
8 is like an Ethernet enabling component in a device whether
9 it's a phone or something else, a USB controller, DVR
10 controller, the memory controller, the processor chip. And
11 then off-chip devices, SoC, is fully integrated on the
12 board. You have different devices, which they combine
13 DOCSIS for set-top boxes, Mocha interfaces, they combine
14 that in the full board. Now, this procedure is inefficient
15 for them. And there we often speak about low-power states,
16 but it's not formalized, so it means different for me and
17 for them. So that's what is in there for them.

18 Now, once this infrastructure is formalized it's
19 easy to add the communication of that information to the
20 outside. Currently, it's used inside to keep the mobile
21 phone running for 36 hours when you just listen to audio,
22 like your iPhone does. This information can -- about the
23 states, about the current state it is in, like an identity
24 card, energy identity card of the device. Plus the real-
25 time reporting, which we discuss here is a simple add-on to

1 that feature. And we are happy to have this
2 (indiscernible) who is through Internet of Things going to
3 bring forward that point.

4 How the Commission can help, these people I
5 listed there, are competitors. And they definitely only
6 come together if they have proven financial benefit. And
7 one of the elements, which could be attractive is what I
8 think Alan mentioned, is the upstream incentives for that.
9 Because that could enable some components, which are
10 inefficient, which are more costly, maybe 50 cents more
11 costly, consume 5 watts more to maybe save a place by a
12 more efficient component. That will be a more specific
13 contribution of not the Commission itself, but maybe of the
14 energy companies around it.

15 There is this notion, which I mention of the
16 Department of Defense, which made a very simple step. Put
17 the federal seal on that. It raised the awareness in the
18 industry, newspapers talking about it, media started
19 talking about that and so on. So suddenly by initially an
20 investment was paying TI and Intermetrics (phonetic) in
21 '81, maybe \$300,000. And it generated an avalanche of
22 activities, literally \$10 billion if not a larger industry
23 at the moment. And the DOD didn't follow that to every
24 step, didn't go into detail. It just said, "This is what
25 we think is beneficial." And then we said, "Yes, this is

1 beneficial to us, let's move together." I think the
2 Commission has, especially in California, most tech
3 companies are coming from here -- has this opportunity to
4 set that sequence of events in motion without having to
5 overspend.

6 MR. RIDER: Thank you.

7 MR. ZIVOJNOVIC: If I may just comment on the
8 software side: very, very excited about the fact that more
9 and more people are mentioning software and yes it's not
10 only Microsoft, it's the Linux community. All the servers
11 we have, you have, Google has are Linux based. All
12 networking devices, if you have a router at home it's Linux
13 based. So there are not too many, there are three chunks
14 of software companies which need to be brought to the
15 table. It's the Windows ecosystem, the Linux ecosystems
16 and then the Artos ecosystem for the smaller devices like
17 fridges and similar.

18 And these people will be very good if they start
19 listening about energy efficiency from that perspective
20 like we have now, an occasion that the Intels and Dells and
21 HPs, have the contact with the Energy Commission.

22 MR. RIDER: Okay. And then Pierre, on your
23 presentation there, you have a big long tail of products.
24 And we talked about how maybe knowing what the products
25 you're using is useful, can really target the big ones, but

1 what do we do about this? I mean, you've got this huge
2 tail. I don't think user behavior -- I wouldn't spend the
3 time to save a tenth of a kilowatt hour honestly, and I'm
4 pretty conscious about this stuff. What do we do about
5 this? How do we get this tail?

6 MR. DELFORGE: A couple of thoughts. First, I
7 think the reporting will tell you which parts of the tail,
8 which aggregations of the tail are significant and better
9 understand it and able to prioritize and focus on parts of
10 it.

11 I think horizontal approaches, you know,
12 horizontal standards for standby can address a lot of the
13 tail, maybe not all of it, but a significant portion. And
14 some control approaches like whole house control, you know,
15 smart power strips. So there's a number of things that
16 could be done to address multiple of them, so I think
17 there's no silver bullet. But I think there's a number of
18 combination of tools that might be able to significantly
19 reduce the tail.

20 MR. RIDER: Yeah, and then you were talking on
21 the commercial side, it being very difficult. And then Joy
22 was saying -- or I don't know if it was Joy -- someone was
23 saying that there are people with just really chaotic
24 schedules, but businesses for the most part are the most
25 rigid. At least here at the Energy Commission, "We come up

1 at this time and we leave at this time." There's no
2 whistle that blows, but it's pretty much what happens. And
3 so then the building is empty. Is there a different
4 strategy made for tails in commercial buildings where you
5 have a more regular schedule?

6 MR. DELFORGE: So I think that's true in office
7 buildings and maybe in some other sectors, not necessarily
8 in all sectors. That lends itself well to control and
9 energy management. My comment was more in terms of the
10 diversity of end users and the fact we're going to -- the
11 variety issue in the residential sector is compounded on
12 the commercial sector, which makes a stronger case for
13 horizontal approaches that can cut across many of these
14 sectors.

15 But, you know, to your point -- and I think
16 there's some of it in Title 24 already -- is looking at
17 controls strategies to try and minimize plug loads in these
18 type of buildings.

19 MR. RIDER: Thanks.

20 All right, I think we've used up the Panel time
21 on this one. I want to thank the panelists for coming here
22 today and providing their insight into how we might address
23 this plug load issue. And we'll move on to the next
24 Panel, which I believe is moderated by Sean Steffensen
25 here.

1 COMMISSIONER MCALLISTER: Thanks a lot, everyone.

2 MR. RIDER: I'll hand it off.

3 MS. RAITT: If I could ask the panelists to go
4 ahead and take seats in the audience and we can get our
5 next Panel up. Thank you very much, everybody.

6 MR. STEFFENSEN: Hi, I'm Sean Steffensen with the
7 Efficiency Division. I work with Ken and I will moderate
8 the next Panel.

9 While California continues to have significant
10 opportunities to reduce plug loads through standards
11 development there are several appliances for which we are
12 unable to improve standards due to thorough preemption.
13 For these appliances California will need to consider other
14 strategies and tools to achieve the necessary reductions in
15 plug load efficiency.

16 The next Panel will discuss some of the
17 strategies and tools currently underway or make
18 recommendations about such tools to reach these types of
19 appliances. So again, there'll be six speakers today.
20 There'll be Q&A at the end, so I would ask to hold comments
21 and questions until the end. And if we're ready to begin,
22 I see people are still settling in just a little bit, but
23 Rish will be the first one up. Thank you.

24 MR. GHATIKAR: Thank you for the introduction.
25 It's a pleasure to be here and thank you for the

1 invitation, especially to David Hungerford and then Charles
2 Smith for having me here.

3 So today there were a lot of good questions. I
4 am glad to have a lead to some of the things I'm going to
5 be talking about today on the appliances side and the
6 equipment. I'm not going to be focusing on the plug loads
7 per se, but some of the work we've been doing for quite
8 some time. At least I've been working on understanding the
9 demand response automation in appliances and to recommend.

10 Until last month I was at Lawrence Berkeley
11 National Lab for 13 years leading some of the grid
12 integration research. And just this month I worked for
13 another interesting startup that is focusing on electric
14 vehicle charging and standardization interoperability of
15 vehicle charging and smart networks.

16 So in terms of my talk today I'll be talking a
17 little bit about demand response context in automation,
18 what we've been doing in demand response. Because plug
19 loads are pretty new in demand response, not many plug
20 loads are out there. Through demand response we will have
21 a knowledge of what could be done for demand response
22 including some of the R&D findings primarily done through
23 the Demand Response Research Center, which was a peer-
24 funded research center for the last ten plus years at
25 Lawrence Berkeley National Laboratory.

1 And then what's the path followed, what's the CEC
2 role and what were some of the key recommendations we would
3 like to move forward.

4 So if you're looking for the context for demand
5 response automation primarily a lot of standardized
6 standards and regulations in California, including those by
7 the California Energy Commission, have focused on energy
8 efficiency. They haven't focused much on demand response.

9 If you look at the potential for energy
10 efficiency it's quite significant. A lot of people are
11 aware of what the potential savings of Title 24 Building
12 Code has been on energy efficiency. But also the first
13 time in 2008 there was an effort made by the California
14 Energy Commission to include Demand Response Standards in
15 the Title 24. And the idea there was it was expected to
16 deliver a savings up to 132 megawatts each year of demand
17 response savings.

18 And for those who are not well versed with demand
19 response or a difference between energy efficiency and
20 demand response, demand response is all about when you save
21 energy and not all the time. Energy efficiency is all
22 about using the least amount of energy to provide you the
23 maximum services. So the demand savings are quite
24 significant, because the ripple effect goes up all the way
25 from the distribution system to the transmission systems

1 and all the way to generations.

2 Another important thing about this fact is that
3 similar to energy savings, demand savings also accumulate
4 every year. So there is a huge potential for leveraging
5 the cost effectiveness, both from the consumer perspective,
6 from the utility perspective, from the rate (indiscernible)
7 perspective.

8 The significant change that happened in the
9 standardization effort for demand response was in 2013,
10 Title 24, which required automation. While demand response
11 can happen without automation -- you know, people can turn
12 off their lights or manually change their temperature set
13 points in the thermostat -- automation is a very key
14 enabler, because you don't need a human in the loop. It's
15 much more reliable. Research has shown it's around 8 to 9
16 percent more reliable than manual demand response. And
17 it's also a very key element if you want to have a quick
18 response, especially for wholesale DR market or ancillary
19 services.

20 And as we see the future grid is moving into
21 more renewable and the grid is becoming more variable.
22 Flexible loads will play a very key role and automation
23 will play a very key role, so the idea there was to move
24 these building systems -- Title 24, which is most focused
25 on the commercial side -- to have native capability and

1 enablement to provide demand response resources.

2 So I think there are a lot of lessons here taking
3 from Title 24 and moving them into Title 20 potentially in
4 the future. And that's where CEC can play a role.

5 I don't have too many details on this one I'll go
6 over, due to the constraint of time, but I have added a lot
7 of references and publications we have published in the
8 past. So anybody who wants to get into more detail, they
9 can refer to those publications.

10 So what is the road map of what Title 24 came
11 through demand response? As you all know the name of the
12 (indiscernible) standards, the Warren Alquist in the early
13 '70s. That was a key game-changer in enforcing energy
14 efficiency and why California is a leader in energy
15 efficiency, in the entire country, maybe in the entire
16 world. So there were a lot of steps that happened whether
17 it was three-year rule period -- the biggest change was in
18 2008 and 2013 where I mention.

19 But another thing I also should mention, there
20 was mandatory demand response standards requirements that
21 were explicitly defined. Whether they were defined in the
22 right way or not, there is a paper that we have, and there
23 is a potential to improve those languages. But that was a
24 significant step. I have no knowledge of any building code
25 in the world that has a requirement of mandatory demand

1 response standards and implementation, you know, in any
2 building codes. So I think it's a key step that we can
3 learn lessons from.

4 Again, there is an immediate need to allow such
5 electricity equipment whether it's appliances, white goods,
6 or I was very happy to see somebody talk about electric
7 chargers, EV supply equipment. Also be able to leverage
8 looking into the future, what could be done. And those are
9 very key to meet the goals of California, especially with
10 the 33 percent renewable by 2020 and addressing having more
11 flexible loads.

12 So what are some of the lessons that we have
13 learned through our experiences? Again, this information I
14 have here is based on two major studies. One is on the
15 what we call Demand to Grid Lab that we had set up at
16 Lawrence Berkeley National Laboratory when I was working
17 there. It was part of the Demand Response Research Center
18 Initiative funded by the Energy Commission. And the second
19 one was in the Title 24 support itself, in enabling
20 automated demand response and standardization natively in
21 commercial buildings.

22 So one of the things we looked into on the
23 appliances side, as part of the research, is looking into
24 different types of equipment whether it's a washer, dryer,
25 a refrigerator or water heater, a thermostat which is also

1 used in commercial, not just residential and how the
2 displays, gateways and meters play a role.

3 But it's important to understand the fundamental
4 difference between why metering and these gateways is
5 needed, because technically you don't need them for demand
6 response. But for establishing automated demand response
7 and getting data and to be able to establish a measurement
8 verification and change their energy usage pattern, you
9 need some kind of communication and a network to be
10 established. So that's where these play very key role in
11 enabling automated demand response and for the future
12 electric grid.

13 We looked at different DR modes as well, what we
14 call function in what can these appliances do when they
15 receive a signal. And how much energy or demand savings
16 they can provide over what period. How much can they
17 share, how long can they do it, and how often they can do
18 it.

19 We also looked at different protocols that exist
20 out there, because there are a plethora of communication
21 technologies and protocols whether it's a Xbee or Wifi
22 Internet, a smart energy profile, and SGIP was mentioned,
23 so there's some standardization happening in there. And
24 also Open ADR, which came out again of the lab research I
25 led for the last ten years. It's a national standard, part

1 of the NIST activity and SGIP activity for demand response
2 and press communication. So there is some standardization
3 happening in the demand response in the Green Button, for
4 example, on the energy reporting information. But there is
5 no standardization of that need that these standards should
6 be implemented in any appliances or equipment. And that's
7 where I think CEC can play a role in influencing that.

8 The second one was natively enabling what can you
9 do in these appliances, because while consumers are smart
10 at the same time they do not have enough time to really go
11 ahead and program them for every event that they might
12 receive from the utility. So there is an inherent need to
13 have some native capabilities of what could be done. There
14 is an example of the laptop or, you know, smart charging
15 infrastructure or what you could do in a laptop.

16 Similarly, what can be done in a thermostat?
17 What can be done in a washer? What can be done in a
18 refrigerator? So these are some of the things that also
19 can be taken a look at and then those could be required, so
20 that when appliances are purchased by the consumers they're
21 natively capable. And they can, with some minor
22 customization or some selections they can be ready to
23 participate in a demand response program.

24 So another thing is also how much can they save
25 through these strategies? We looked at three appliances:

1 washer, a dryer and a refrigerator. We looked at different
2 rates, you know? One of the ways to enable demand response
3 is to provide a time differentiated rate, what we call
4 dynamic rates. At critical peak pricing, for example, that
5 Southern California offers or peak day pricing that PG&E
6 offers are some examples of dynamic rates. That's when the
7 grid is highly unstable and demand is very high, the prices
8 are high. How do you communicate that to the customers and
9 how the customers can take some actions to reduce the load?
10 We saw that at high-rate level and critical-rate level,
11 which could be an emergency right, what can we do?

12 We saw a significant potential for load reduction
13 with these individual appliance even at the high-rate
14 level, which is older than this. We saw like 39 to 40
15 percent demand savings potential in appliances and again,
16 you don't do it all the time. You just do it in currently
17 the critical peak pricing, looking at 60 to 70 hours a
18 year. So, you know, out of a four or five-hours event,
19 you're looking at twelve to thirteen events in a year,
20 that's it. So there is something that you can do in
21 appliances and in the cumulative effect and an aggregated
22 effect could be very significant.

23 So if we look at how do you enable these devices,
24 again the important thing is the language that was part of
25 the Title 24, the Joint Appendix 5. For the first time in

1 the OCST or what we call programmable communicating
2 thermostat or the language for occupant controlled smart
3 thermostat, is basically defining a standards based
4 messaging protocol. Because all of a sudden now you're
5 communicating with the grid to receive this price
6 information or demand response information. And you need a
7 way to standardize that, because all appliances cannot be
8 customized for individual utility programs. You need to
9 have some standardization just like you plug in your WiFi
10 network to your computer and the WiFi is standardized, so
11 you can use that anywhere in the world. And then you can
12 communicate to the Internet.

13 Similarly, can I purchase a thermostat in Home
14 Depot and not worry about whether it's in the Southern
15 California Edison territory or PG&E territory. I can
16 easily participate in their programs. The answer is you
17 can do that now, it's not a technical challenge.

18 It's a program challenge, because you're utility
19 may not require it, thankfully. All three (indiscernible)
20 western utilities have standardized similarly with Open ADR
21 requirement for DR demand response. So you can say anybody
22 if implementing Open ADR in that thermostat, are capable to
23 receive and communicate with the utility pricing
24 information for demand response.

25 So there are certain things one can do, certain

1 things CEC can do and certain things CEC cannot do.
2 Markets drive them, so the appliance manufacturers and the
3 consumers drive them. Certain things like internal
4 protocols and protocol translation you cannot change. You
5 know, I'll be happy to use WiFi, somebody will be happy to
6 use Xbee. You cannot say "everybody use WiFi."

7 But there are certain things which could be
8 standardized, which is the Open Standard Protocol on the
9 right side which communicates to the grid through your
10 smart meters or your gateway or cloud application or any
11 other devices. And those communications are very critical,
12 because this lesson I think is important to not reinvent
13 the wheel, even while federal regulations, federal
14 appliance standards, don't have the requirement for demand
15 response. They are very aggressive in energy efficiency,
16 but the ENERGY STAR is the first time it's not mandatory.
17 But ENERGY STAR requires or at least recommends what could
18 be done. And this is the best one I have ever found in
19 terms of separating the Open Standard Protocol that
20 communicates with the grid and linking them to the
21 requirements that consumers and manufacturers can choose to
22 deploy with their products. And that is where you are
23 separating.

24 And the important glue between these two is a
25 Protocol Translation. So any communication that comes from

1 the grid and the communication that internal advices use,
2 they need to understand the language. And that's where the
3 key aspect, whether it's the home energy management systems
4 or gateway systems. Or some kind of a logic that could be
5 built into these appliances very cost effectively, because
6 appliances are capable and sophisticated enough now, it's a
7 small task to do. But if regulations do not require it the
8 appliances are not going to be doing it. So this where I
9 think there would be a key element to implement such
10 requirements.

11 Again, cost is an important factor, I'm not
12 denying that. But that kind of cost benefit analysis could
13 be done very easily to really see that the scale through
14 which this could be deployed in many different appliances,
15 the cost would be very minimal.

16 So if you start looking at this as an example and
17 start linking it to the distribution grid, in the future
18 the utilities whether ISO for wholesale market or utilities
19 in California for retail market, there is also an important
20 thing is that you can communicate directly with the
21 utilities. That's the secure standards communication that
22 the utilities in California have over 250 megawatts and
23 they have deployed over 1,500 facilities, mostly commercial
24 and industrial, for using the standardization. And they
25 directly communicate to a facility where there's a logic.

1 And that makes sense in commercial and
2 industrial, because most of these buildings have building
3 energy management systems, they are more sophisticated than
4 you would have in appliances or homes. But that same
5 concept could be applied in a home where you might have a
6 third party, because the loads that you can get from homes
7 are very small. And aggregation can play a very key role
8 in bringing in smaller loads from hundreds of millions of
9 homes and devices and providing those resources to the
10 grid.

11 So this is what we had proposed as part of our
12 study for Title 24 is to use some of the experiences that
13 we have had in California for commercial buildings and what
14 ENERGY STAR had been recommending for its appliances,
15 particularly in refrigerators and freezers. And have those
16 demand responsive controls, what we call, within these
17 appliances as a native capability with some pre-program
18 strategies of what they could do when such information is
19 received.

20 It's totally up to the consumers to decide
21 whether they would like to enroll into a program and enable
22 such devices to participate in demand response, but the
23 capability does exist. So it becomes a very cost-effective
24 strategy and easy to participate. And then you can have a
25 logical interface that takes this information from external

1 signals and can communicate to any of the other third-party
2 service providers to the utilities or ISOs directly to
3 provide demand response.

4 I think the standardization is very important,
5 because that allows us to reuse our assets. The
6 (indiscernible) terms of standards assets is very
7 important, because you don't want to use an asset and know
8 that the particular utility doesn't offer the program or at
9 least doesn't communicate in a way that these device
10 understands. And the asset becomes stranded and then you
11 need to spend more money to either change an asset or
12 reprogram the asset. So that is very important for
13 ubiquitous adoption of the technology in allowing the
14 technology to be able to participate in either retail or
15 wholesale DR markets, especially in California.

16 So if you look at that analogy since I'm now very
17 much engaged in looking at this problem in the future of
18 California with all of the government and state goals of 1
19 million electric vehicles by 2020. Is there is a huge
20 analogy in terms of what we have learned in commercial
21 buildings and what we are learning in appliances and other
22 equipment, into electric vehicle charging.

23 So there are basically two huge levels
24 standardization requirements. One is in how the electric
25 vehicles charge from the charging stations. There are many

1 different charging standards out there: SAE, Tesla has its
2 own, Shadowmo (phonetic) different standards. Just imagine
3 you have a car where you don't know which particular pump
4 offers you a kind of hose that allows you to put gas in
5 your car. So that is a huge barrier in terms of what you
6 could do. It's a similar problem with electric vehicles
7 right now. It's a huge problem in terms of adoption of
8 electric vehicles. Luckily we are in the very early stages
9 of that and we have the potential to change that.

10 And the second standardization is in the
11 networking itself, because most of these are down
12 (phonetic) charging stations called EVSEs or EV supply
13 equipment. They don't have the ability to communicate and
14 neither do they have the ability to provide information
15 that can provide grid services in the future. So
16 understanding how much energy they themselves use to keep
17 them awake is one part of the problem.

18 And the second problem is what kind of
19 information that can be enabled, and control that can be
20 enabled to provide grid services through the electric
21 vehicles, which also have storage by the way, in them, is a
22 very big area that California can leap frog in the future.

23 And I also think there's a third area, which we
24 can learn and apply the same lessons in enabling demand
25 response in price communications through the commercial

1 building. You don't need to build a new standard. The DR
2 Programs can be the same. The communication infrastructure
3 could be the same, but how you respond and what kind of
4 device uses that to respond could be different.

5 So I think the lesson there is taking those could
6 be applied to a network-based solution whether it's your
7 charging or your network or grid participation, into a much
8 bigger skill. And the idea there is how do you enable or
9 defer the charges that might be necessary in order for the
10 future grid, you know? Sometimes a transformer may be
11 over-congested or the grid may have enough supply, but
12 localized problems might be very big. And demand chargers
13 are a big part of California consumers, commercial and
14 industrial consumers electricity bills.

15 And it could be a big part of the EVSE owners in
16 the future as well. So you could have some kind of
17 controls that allow people to save money by more regulated
18 or managed charging or smart charging as we call it. So I
19 think that integrated development and demonstration is
20 absolutely necessary, because we are moving into a new
21 paradigm for large-scale deployments of EVs -- and also to
22 lower their cost and enable them for greater participation.

23 So lastly, what did we learn from all these
24 things? Without too many things of eight or nine-years
25 research I think there is a huge potential to improve Title

1 24 Building Code, especially looking at the thermostats in
2 small commercial buildings and building control systems. I
3 think that similar guidelines, terms and accepted testing
4 requirements, which California Title 24 requires -- without
5 developing the standards, but using the standards in
6 creating guidelines -- can be applied with Title 24
7 appliances or equipment as well. So there is a huge lesson
8 that we could learn and use those.

9 The second one is interoperable demand response
10 controls in appliance equipment that can automatically
11 respond to an external DR signal and that can provide
12 customers the choice, so command and control paradigm is
13 gone. You know, customers are smart. They would like to
14 have their own choice. They'd like to decide when they
15 would like to participate and how they would like to
16 participate in a Demand Response Program. Choice becomes
17 very critical.

18 And the third one is how can the results be added
19 to the home automation network of consumers, utilities,
20 generators and regulators. So taking those lessons and
21 applying them into other different areas, I think, would be
22 very useful.

23 Finally, the path forward. You know, we think
24 that these standards could be made accepting and acceptance
25 testing requirements can be made more clear. CEC may not

1 develop its own standards, but they can define the
2 acceptance requirements and the consumers in the market can
3 decide what kind of standards can be meeting those
4 requirements. They cannot be one or they cannot be ten,
5 but they could be two that can meet those requirements.

6 And the second I think is extremely critical,
7 because I have spent at Lawrence Berkeley 13 years of my
8 life since I was an intern there and now on the private
9 sector side, so I'm trying to see it from the other side.
10 And even at Lawrence Berkeley we did applied research
11 working with industry very, very closely. So anything that
12 you're going to develop, industry stakeholder engagement is
13 going to be extremely critical in accelerating that option
14 of such standards for appliances or equipment to
15 participate in demand response and see that the consumers
16 can benefit eventually.

17 Then finally is education and training. I don't
18 want to say that the -- you know, everybody knows what we
19 are trying to do and so utilities and other key entities
20 can play a very key role. And what CEC can do is foster
21 programs and funding that allows that kind of education and
22 training and tools that allows -- before you purchase an
23 appliance or before you build a building, you can do a code
24 compliance check and see how well such a program can
25 provide cost-effective savings whether it's a Demand

1 Response Program in the California territory, in PG&E or at
2 Southern California Edison. So I think those three would
3 be extremely critical if we want to look at what could be
4 the path forward in enabling such infrastructure for
5 appliances or EV chargers.

6 Okay. Thank you.

7 MR. STEFFENSEN: Thank you.

8 Next up will be Alan Meier.

9 MR. MEIER: Thank you very much, my name is Alan
10 Meier from Lawrence Berkeley National Laboratory. And I
11 think I'm going to go backwards in my slides and start at
12 the end, because I want to get to solutions.

13 I don't claim to have all the answers, but I
14 think you've heard a lot of recommendations here and I'm
15 going to repeat a few of them. But then I think I have a
16 few unique ones and actually I disagree in a couple of
17 cases, which I was surprised, because I thought I was going
18 to be agreeing with everybody. And I mostly am, so there
19 are a couple of small observations I want that might give a
20 different slant, if not disagree.

21 So the first is, I think there's a way that we
22 want to limit the amount of loads that are installed by
23 builders. We need to think of a way to do that and it
24 might be part of the Title 20/24 approach. I don't know
25 all the solutions, but I think there's a way and path

1 forward there.

2 You've heard several people use the words "power
3 scaling, proportional energy, proportional power use." I
4 completely subscribe to that. We need to get involved in
5 that. We need to figure out ways in which that can be
6 implemented and that needs to be done way again upstream.
7 That needs to be done with the test procedures and the
8 technical standards. It's not easy, I don't know all the
9 details of it, but this is where in small investments done
10 today by thoughtful people, we'll be able to make a huge
11 difference. And I think that is and will become a research
12 problem, which I will get to in a moment.

13 Finally, we need to think -- or not finally, but
14 third -- we need to consider ways of using Title 20, Title
15 24 combinations to deal with perhaps other reasons why
16 people might want to have special energy features in their
17 buildings. And I'm thinking about energy security, energy
18 for health reasons and maybe more reliability. There may
19 be a variety of reasons, which they may want to pursue a
20 different path. And the Energy Commission has already
21 started that, but we may want to emphasize that in the
22 future.

23 I think there's still a tremendous amount of
24 research in the area to understand and then reduce plug
25 load energy use. And partly because you've see that we

1 just don't know very much about it. And so some of the
2 research areas are like I've already said, greater power
3 scaling, nobody has talked about the potential here for DC
4 grids in the home and how that might be used to reduce
5 energy consumption. Not only because it can reduce energy
6 consumption, but if done correctly it can provide
7 communication among the devices in a very efficient manner.
8 And that will give us additional energy savings
9 opportunities.

10 Naturally, we want to improve the efficiency of
11 the individual products. I have some data that suggests
12 that in many cases, some of these things that we think are
13 insignificant actually have large ranges of energy
14 consumption, and we could further reduce them. We haven't
15 -- we're now at the level though that some are so low that
16 we can consider things like energy scavenging and small
17 onboard storage if you wish, batteries or super-capacitors,
18 in order to free them up and further reduce the energy
19 consumption.

20 Energy reporting has been discussed many times
21 here and I subscribe to that. But what exactly is energy
22 reporting, how that information is going to be reported,
23 what are the protocols to deliver that, and how do we get
24 around are what are becoming closed gardens of information
25 exchanges is going to be a real challenge. And I think we

1 need public entities to get in there and to play a role.
2 Again, it's upstream and it's excruciatingly boring to be
3 on these technical committees, but that's where the action
4 is. And will make the long-term decisions.

5 We already heard a little bit about user
6 interfaces and I subscribe to that. I was shocked a few
7 years ago when I started studying thermostat interfaces.
8 There is no standardized procedure to quantify the
9 usability of user interfaces, so how can you expect
10 manufacturers to make good interfaces, because they don't
11 have a scale on which to measure their success. Well,
12 we've worked a little bit on that, but there's still a lot
13 work to be done that.

14 And usability does have an important role in
15 this. Along with energy reporting we also need to have an
16 interoperability of products. And again, that's allowing
17 them to communicate key information, not only energy
18 information, but status information, identity information,
19 all that needs to be able to be communicated. And right
20 now we're beginning to live in a land of walled gardens.
21 It's going to be the GAFA, Google, Amazon App, Facebook and
22 Apple. These are the walled gardens that we're beginning
23 to see.

24 Finally, we shouldn't deny the fact that there
25 may be social science solutions that are much, much cheaper

1 than other ways of saving energy. And I'm not going to try
2 to list them or I'm not trying to force people to do
3 something. But behavior is extremely pliable and changes
4 over time and sometimes we aren't even aware of how much
5 our behavior and our attitudes towards certain things have
6 changed. And we need to recognize that sufficiently, so
7 that we can take advantage of it when possible.

8 Now, those are my solutions and so now I'm going
9 to go back and mention a couple of things that I wanted to
10 make sure that everybody got.

11 I think this has been covered by Pierre and other
12 people. Once again, there's no single solution. We need
13 to have a diverse collection of strategies to deal with
14 plug loads. And so I am going to skip that and go to this
15 slide, because this is one of the rare cases where I
16 disagree with Pierre. Pierre, are you still here? Yes,
17 he's still there.

18 I've actually had a student measuring what I
19 called the builder installed loads where we try to find
20 houses before -- just when the builder has finished it, but
21 before anybody's moved in, and there's a smart meter
22 attached, so we can look at the power consumption. And so
23 this is the energy consumption that becomes a mortgage on
24 the home. For the life of the home that energy is built
25 in, baked in, built in, I don't know what you want to call

1 it, into that home for 100 years.

2 Well, these are the power consumption of ten
3 homes or something like that, that we measured by literally
4 just looking at the smart meter. And we think that there
5 was nothing else -- everything was switched off in these
6 homes. And just to give you a sense of 100 watts
7 corresponds to roughly 900 or 1,000 kilowatt hours a year,
8 somewhere around there. So you're seeing that before
9 anybody has moved into those homes they're using 1,000
10 kilowatt hours a year and they're going to continue using
11 1,000 kilowatt hours before anything else happens.

12 Now, we don't know exactly what all that's made
13 out of. We've got some ideas of what the components are,
14 but this seems to me something that is important to
15 address. And it also seems to be addressable, because
16 there is a person who is responsible for it. There is a
17 builder who is responsible for this home. And there may be
18 ways in which we can figure out that we can reduce this
19 load.

20 But as Chris Calwell had mentioned before, this
21 is something that basically translates into an extra
22 selector on the roof. And that's very expensive, but we
23 need to figure out ways of reducing this. In many cases
24 these are required by other codes such as Safety, because
25 these are hardwired smoke alarms. These are GFCIs. These

1 are arc fault interrupts. These are security systems.
2 There's a whole -- these are ventilation systems. We need
3 to talk to the code officials and figure out ways in which
4 we can assure safety, but maybe reduce energy consumption
5 at the same time.

6 Again, I want to give a plug, so to speak, about
7 the need to have proportional or power scaling of devices.
8 These are very poor graphics, I apologize, but on the left-
9 hand side you'll see a network switch going from 367 watts.
10 So there's a huge amount of power consumption that's not
11 shown on this graph, 367 watts when it's just sitting there
12 idle. And then when it's being utilized at 100 percent of
13 capacity, it goes up to a whopping 376 watts, so it's
14 increased maybe 10 percent from 0 percent to 100 percent of
15 utilization. That means it's not being at all flexible.
16 There's no power scaling occurring.

17 And then we need to ask, well how often does it
18 actually get to 10 watts or even 50 watts? And so this is
19 a few -- the right-hand graph shows crudely, on several
20 days, how much of the capacity of utilization actually
21 occurred. And most of the time it was below 1 percent.
22 Well, we don't even deal in most of the test procedures and
23 so on with products operating at 1 percent. But in fact,
24 many, many electronic products have a 1 percent utilization
25 and so do elevators and a few other things like that, that

1 are in the same boat. And we need to deal with this whole
2 concept of being able to ensure that products operate
3 proportionally to -- they consume power proportionally to
4 their power consumption.

5 One other point just to keep in mind, and to kind
6 of repeat what Pierre described, this is a poor graph which
7 actually has a mistake in it. But look at the red, because
8 that shows the distribution of the minimum power
9 consumption in existing homes for 20,000 homes. And
10 actually the blue line is a little wrong; it should go over
11 to that black line. If you look at the -- 50 percent --
12 you'll see that about the median home in California or this
13 group is at the lowest possible power consumption it ever
14 reaches over the year. It's using actually about .25
15 kilowatts, which is still somewhere around 2,000 kilowatt
16 hours per year.

17 And we've got to figure out a way, so that when a
18 house is absolutely at its minimum power consumption it's
19 got to be close to -- well I'm not asking for zero, but it
20 should be really low, because more than likely nobody's in
21 that house. Nobody's using any services. Why isn't much,
22 much lower? I don't know.

23 Well, we need to understand that and we need to
24 figure out how to design appliances in the whole building,
25 so as somebody else said here, the building goes to sleep

1 when the people go to sleep. Or when the people are on
2 vacation the building should be going much closer to off.

3 So I'm going to stop there. Thank you.

4 MR. STEFFENSEN: Thank you, Alan.

5 Next up will be Peter.

6 MR. FRANZESE: Hi everyone, my name is Peter
7 Franzese. I apologize in advance -- you've all been very
8 good with not having animation and I might be the guy that
9 you go home and say, "Wow, this one guy had a lot of
10 animation on his slide. It was really annoying."

11 I work at the CPUC. I'm the Residential State-
12 Wide Program and Evaluation Lead. And I was asked by CEC
13 staff to present just sort of a snapshot on where the IOUs
14 Rebate Programs are that address plug loads. So I'll jump
15 right in.

16 In 2010-2012 there were two large statewide
17 programs that addressed plug loads. The first one was
18 "Home Energy Efficiency Rebates," which provided down-
19 stream rebates to customers who purchase new appliances,
20 plug-load equipment.

21 So here you get a sense of how much each utility
22 spent and at an IOU level, what the cost-effectiveness was,
23 for these programs. Just Southern California Edison's Home
24 Energy Efficiency Program was cost effective. Overall, we
25 spent \$115 million on this rebate program and it had a

1 combined TRC of just .69. So we don't want to get into the
2 debate here, I think, about TRC, but we have the TRC, not
3 the TRC we wish we had. And 91 million of that 115 million
4 was spent on programs at the IOU level that were not cost-
5 effective.

6 I looked at the top five measures. There were 21
7 total measures offered in the '10-'12 year program. These
8 are the top five by expenditures and -- I'm sorry, the top
9 six -- and savings. So you've got clothes washers,
10 refrigerators, roof insulation which made its way in there
11 -- not a plug-in device -- but the HVAC, furnace,
12 dishwashers and pool pumps. You can see the average cost
13 effectiveness for each of them. And then there's a range
14 by IOU, so the measures perform differently, depending on
15 the service territory. Sixty-five million of the
16 expenditures were spent on non-cost effective measures.

17 The next program was Appliance Recycling,
18 providing customers with incentives to get rid of an old
19 inefficient refrigerator. Freezers were in there too, but
20 they didn't make up a very big portion of the savings or
21 the expenditures. It primarily targeted refrigerators.

22 You can see the spending levels varied as did the
23 cost effectiveness. Just Southern California Edison's
24 program was cost effective. And overall, the IOU spent \$54
25 million dollars and the roll of that cost-effectiveness was

1 .82. Like I said, refrigerators, they were 92 percent of
2 expenditures and their cost effectiveness was a bit lower
3 than the total program average.

4 At a sector level and a portfolio level, the HEER
5 Program accounted for -- sorry if this slide's not readable
6 -- it was 63 gigawatt hours for the three-year cycle. That
7 was 1 percent of the portfolio, 2 percent of the
8 residential sector if you include lighting, and 13 percent
9 without lighting.

10 For the ARP the savings were 103 gigawatt hours.
11 That was approximately 2 percent of the total portfolio
12 savings. In the residential sector, if you include
13 lighting, those savings were 4 percent. If you exclude
14 lighting ARP savings were 21 percent.

15 And I do note that under the current framework,
16 only the IOUs portfolios have to be cost effective; neither
17 sectors, programs or measure groups or measures need to be
18 cost effective.

19 In 2013-2014 the HEWR Program and the AR Program
20 were rolled up into a larger umbrella effort called the
21 Plug Load and Appliances.

22 Again, you can see there's a wide variety of
23 spending depending on utility size, but PG&E and Edison
24 were pretty much in the same ball park. The TRCs were
25 still varied, but none of the IOU Plug Load and Appliances

1 Programs were cost effective. \$102 million were spent with
2 a total TRC of .66.

3 The top plug load measures by budget and TRC --
4 appliance recycling is rolled up in there, clothes washers,
5 refrigerators, pool pumps and TVs. Again, you can see
6 there's a range of cost effectiveness depending on the
7 IOUs, but only pool pumps for San Diego Gas and Electric,
8 among these five were cost effective. Consequently, 81
9 percent of the expenditures were spend on non-cost
10 effective measures.

11 And in terms of the plug load and appliances
12 savings, as a percentage of the portfolio in the sector,
13 PLA -- and that's a rollup of essentially home energy
14 efficiency rebates and the Appliance Recycling Program.
15 It's not a direct comparison to '10-'12, but they're pretty
16 close: 95 gigawatt hours, which is 3 percent of the
17 portfolio, 9 percent of the sector if you include lighting
18 and 20 percent of the sector excluding lighting.

19 Marketing, Julie's here from PG&E, she might
20 correct some of what I say, but I think it's fairly
21 accurate. The IOUs have, I would say three sort of at the
22 residential level, complementary marketing efforts. The
23 Home Energy Efficiency Survey otherwise known as The Energy
24 Advisor. A customer fills out a survey either online or
25 via the mail option -- I think just Edison is relying on

1 mail surveys until they get their website up and running --
2 based on the results of that survey the IOU then sends
3 recommendations on low-cost and no-cost actions to save
4 energy.

5 Sorry this doesn't show up, but this was the
6 screen I was presented with after I completed the survey.
7 And it breaks down your energy use into five different sort
8 of larger end uses. Within these recommendations there's
9 low-cost no-cost actions such as line drying your clothes,
10 looking into purchasing a new TV, pursuing new insulation
11 for your house. So there's no discrete messaging that
12 targets plug loads exclusively.

13 You have the Home Energy Reports, which I think
14 most everyone is familiar with. They use comparative usage
15 to give you information on your energy usage compared to
16 neighbors in similar homes, along with some tips on how to
17 save energy. Again -- terrible resolution, but this is not
18 my report, it's a general image online -- but you do tend
19 to get -- the three gray columns are the recommendations
20 based on your energy usage. They're not specifically
21 again tied to the plug load usage that's happening in your
22 house.

23 The broader EE marketing includes a combination
24 of efforts. There's email, direct mail and bill inserts.
25 And while plug load messaging is part of that effort, there

1 isn't any specific marketing targeting the broader use, I
2 think, of plug loads that we're talking about here today.

3 Future efforts in 2013-2014, both PG&E and
4 Southern California Edison explored pilots that addressed
5 plug load devices beyond the traditional white goods.
6 These include a downstream program that targeted set-top
7 boxes. That was Southern California Edison pilot. Julie's
8 going to talk later about the retail plug load portfolio,
9 which is a midstream pilot offering incentives to retailers
10 to stock a greater portion of energy efficient plug-in
11 devices. And PG&E had a proposed game console effort with
12 a manufacturer.

13 Each of these revealed fairly significant
14 challenges in terms of I think the downstream was what type
15 of rebate do you offer? Should it even stay as a
16 downstream program? Does it need to be a midstream program
17 working with the cable provider or the manufacturer of the
18 set-top box? RPP, Julie will talk about that, but there
19 were some challenges in those results.

20 And gaming consoles shows that there are some
21 pretty big challenges. A lot of people here have been
22 talking today about working with manufactures. And I think
23 that Julie can speak that working with game console
24 manufactures will be very challenging. They do what they
25 do and they like the way that they do it. So figuring that

1 one out is going to be tough.

2 I think one thing that hasn't been mentioned here
3 today is in the last year or so, there have been two
4 separate bills, neither of which has been passed. But they
5 are targeting plug-in equipment, so we may soon have a
6 legislative mandate to go after this group of products.

7 And Paula, are you on the line?

8 MALE VOICE: We don't have her.

9 MR. FRANZESE: Oh, we don't? Okay.

10 I can't really speak to this, but Paula
11 Gruendling is the CPUC Lead for Codes and Standards and she
12 had some -- what did she put here? I'm sorry, I didn't
13 read this slide. So this is what she basically is
14 describing as what would be needed in support of standards
15 from the IOU programs -- primarily data, you can see -- and
16 how incentive programs can complement those standards
17 efforts, which I think has been talked about here today as
18 well.

19 So thank you very much.

20 MR. STEFFENSEN: Thank you, Peter. Next up will
21 be Kevin to speak.

22 COMMISSIONER MCALLISTER: I want to reiterate.
23 Thanks, Peter, for being here. We really appreciate our
24 sister agency coming over and helping us build the record
25 and educate ourselves about what you guys are doing over

1 there. So thanks.

2 MR. MESSNER: Kevin Messner with PolitacaLogic.
3 I represent the Association of Home Appliance
4 Manufacturers.

5 Commissioner McAllister, thank you for the day.
6 I mean, from the appliance manufacturers perspective my
7 head's kind of swirling right now from hearing everything.
8 And I'm not sure really where to focus.

9 COMMISSIONER MCALLISTER: Like a blind dog in a
10 meat house as the saying goes.

11 MR. MESSNER: So, I'm going to try to go through
12 this quickly. And if people are interested in things, they
13 can ask me.

14 But I want to do -- first on Rish's presentation
15 -- it was kind of music to my ears on the ENERGY STAR and
16 the smart. That was back in 2009 fighting claw and tooth
17 and nail trying to get that HUD protocol, get ENERGY STAR,
18 get everyone agreeing took years. And so it's good to see,
19 we are six years later, and specifications intact it's
20 going forward there. It's an incentive for manufacturers
21 for 5 percent energy. It's going to go on to others.
22 We're doing test procedures for clothes washers; it's going
23 to roll out. And we just really need to see if consumers
24 will buy these things now.

25 The real problem there, from our perspective, is

1 we need real-time rates. You need real-time rates to
2 really incentivize the consumer to do more than the
3 automatic delay loads and things. These are good, but you
4 can really just ramp it up if they had real time.

5 So anyways, what I want to talk about today is
6 harmonization and then an early replacement program to
7 really kind of really get up the next wave of energy
8 efficiency.

9 So harmonization globally, AHAM represents global
10 manufacturers from LG, Samsung in Asia, Haier in China,
11 Bosch, Electrolux Europe, Whirlpool, GE, Sub Zero, so we're
12 a global membership. We love to see global harmonization
13 and everything the same -- it's not happening. There's
14 energy labels in India, China, everyone's different.

15 So let's drill down to U.S., Canada -- a little
16 more realistic -- U.S. and Canada energy standards are
17 harmonized. Canada, there's a lag and so there's issues
18 there, but you have all the provinces in CEC.

19 And just within the federal level, you have so
20 many different "hands in the pot." You've got DOE with the
21 Standards. You've got ENERGY STAR at EPA. You've got
22 Energy Guide, which is over at FTC. In Canada you've got
23 NRCan and ENERGY STAR and EnerGuide. And the provinces
24 have a lot more authority in Canada as well, so it's far
25 from perfect for harmonization.

1 I just want to come up with some examples of the
2 disharmony. These are just some specific examples to show
3 the issues that are out there. And I'll go through each
4 one of them fairly quickly, but focus mostly on the
5 database.

6 Portable air conditions: talk about test
7 procedures. Yes, those meetings are -- it takes a certain
8 personality to sit through those. And there are -- for
9 portable air conditioners this is a case in point -- you
10 have a marketing test procedure that's used. You have AHAM
11 test procedure. You have another ASHRAE test procedure.
12 You got Canada potentially looking at one.

13 But they're defined differently. CEC's defined
14 spot air-conditioners, which is not a portable air
15 conditioner in our opinion, but CEC says they are. And
16 then you have DOE working on it and says that they're
17 single-duct, dual-duct and then spot coolers, so everyone's
18 defining things differently, there's different test
19 procedures.

20 And the consumer -- there's one side story.
21 Mexico did an energy label and they said, "Well you just
22 need to put a label on and it has to be backed by a test
23 procedure. Use whatever test procedure you want and for
24 every product." So you could have a blender. You could
25 run it with a watt meter for five minutes and put water in

1 it. You could put sand in it. And so it's meaningless to
2 the consumer.

3 So having different test procedures and labels
4 and everything all over the map is just not helpful for
5 anybody. And that gets into the databases and the Energy
6 Guide, which I'll get to next.

7 So the Energy Guide, Energy Guide is U.S.,
8 EnerGuide Canada. Many times you'll -- and this is not on
9 every product -- it's FTC regulated. And a lot of times
10 you'll see a manufacturer with Energy Guide on one side and
11 EnerGuide on the other side, because we like to sell the
12 appliances up through North -- well, the U.S. and Canada,
13 the North America portion.

14 Well, Energy Guide, we have a new standard, a new
15 test procedure. The new test procedure is modernized and a
16 little more consistent with IEC in Europe. It includes
17 additional energy. So a more efficient refrigerator with
18 the new test procedure will potentially show more kilowatt
19 hours than an older refrigerator with old test procedure.
20 And so there was this overlap, so in order to make sure the
21 consumer didn't buy the less efficient refrigerator, we
22 have all these black lines and ways to try to hope the
23 consumer will choose the right one even though they'll see
24 a different amount.

25 But people understand dollars. Not everybody

1 knows what a kilowatt hour is. Everybody in this room
2 seems like it's a no-brainer, but not everybody knows what
3 a kilowatt hour is so they use dollars. EnerGuide used
4 kilowatt hours, so again the consumers -- different test
5 procedures. Canada couldn't change the test procedure, so
6 they're using a factor to try to estimate it, so the
7 numbers are different. It's just a mess.

8 We're part of it. We had a hand in this mess.
9 We negotiated this with the advocates before we had a test
10 procedure. And so this not entirely not of our own doing,
11 but we're trying to make it work.

12 Databases -- there are databases -- everybody
13 wants data. Everybody would like to have better data.
14 Everybody wants good data. Well, that would be great. DOE
15 has a database. FTC has a database with different
16 definitions. ENERGY STAR has their qualified product
17 listing. NRCAN has their database. CEC has their
18 database. AM has its verified database. The definitions
19 of each of the databases in the fields are all different.
20 DOE and FTC have different definitions of what you put in
21 there.

22 So we did an exercise where we took all the data
23 from the different databases, pulled it together, merged it
24 together, analyzed it. I mean, it'll drive you bonkers.

25 This is some database categories looking at DOE,

1 ENERGY STAR and FTC how there's just no overlap. DOE has
2 three uniques. That means unique fields where only DOE
3 asks for it. ENERGY STAR has 12 fields. CEC has 9 fields.
4 And every field could be defined differently. So
5 manufacturers are trying to send data in for each of these
6 and they're all different. And they're not. It's a
7 nightmare.

8 And what's worse is then if the consumer every
9 went to use these and they compare -- they go to an ENERGY
10 STAR web product list and they go to DOE and then CEC --
11 they're going to potentially see different things in there,
12 so they're going to probably just say this is meaningless.
13 So harmonizing the database would be a great thing.

14 And I know CEC is actually interested in this and
15 that's great. We don't always agree with CEC on
16 everything, but this is great to hear. I mean, ideally we
17 would like to have one database and it makes most sense to
18 us at DOE. It's a federally -- and we can kind of co-opt
19 in -- Canada and NRCan. We're not hopeful that CEC is
20 going to say "Yeah, great. We're going to get rid of our
21 database and go to DOE." That would be fantastic. We
22 never give up and hope, but at least the CEC and DOE could
23 somehow harmonize with definitions and maybe pull from
24 data, so that it's in the same format. And there could be
25 some cooperation.

1 And we'd be certainly willing to help with DOE on
2 that as well and could even bring NRCan and Canada too. It
3 would be a great, great way to give people that actually
4 need the data real confidence that the data that they're
5 having is good and accurate and consistent and defined in
6 the same way.

7 I want to move over now to the next thing is
8 early replacement of older appliances. So I'll get into
9 this a little bit more, but we're not real excited at some
10 of the things CPUC has been doing on rebate programs. We
11 think the evaluations are really killing rebates. They
12 have a DEER Database that has as 11-year or 12-year useful
13 life for refrigerator and that's just not accurate. We
14 have plenty of data that shows that refrigerators are 20,
15 25, 30 years. And so that kills these TRC and modeling
16 numbers. And then they're capped at 20 years.

17 Then they just announced a policy on DEER Action
18 for Disposals that's just going to destroy the disposal
19 rebates. And they take all kinds of triple redundant --
20 Peter can -- we haven't discussed it at length, but this is
21 kind of a new thing. And they take like triple reductions
22 that are just going to kill the disposal program, which is
23 a huge, huge deal. And they're assuming that nobody fixes
24 or refurbishes a ten-year refrigerator.

25 And it's these kind of things that are -- because

1 of these evaluations the efficiency programs could be more
2 impactful than they are. So I think we're missing a lot of
3 energy savings because the evaluations are really screwed
4 up.

5 (Colloquy off mic.)

6 MR. MESSNER: Yes, in fact we appreciate it.
7 Like I say, this is new. I'm frustrated and that kind of
8 thing. And they have not had a chance to clarify where I'm
9 wrong, if I'm wrong, and help me with that. So I'm in my
10 frustrated mode right now with that. So let me get back
11 then to the early replacement.

12 So what we've talked about and everybody knows --
13 here's the chart -- the utilities could justify a dollar
14 amount with the kilowatt hours. This is one just one kind
15 of basic example. A refrigerator, ENERGY STAR was 20
16 percent; 20 percent of 500 kilowatt hours is a 100 kilowatt
17 hours. Now you have about a 100 kilowatt hour new-to-new,
18 non-ENERGY STAR to ENERGY STAR, to work with to justify a
19 dollar amount. Now we're at a 60 percent drop.
20 Refrigerator's down to about 400 kilowatt hour. ENERGY
21 STAR is 10 percent, so now you're at 40 kilowatt hours to
22 try to justify the same amount of rebate. That's not a
23 trend of sustainability and future possibilities of great
24 energy efficiency areas.

25 So what we're saying is let's -- and I've heard a

1 lot today -- everyone's talking about new. How do we get
2 the new-to-new? It's always the traditional old-school
3 thought of let's compare new to new or new to the next new.
4 And we feel its missing the efficiencies that can be
5 obtained by looking at new to the old. Get the old one off
6 the grid and get a new one.

7 For appliances, the efficiency gains are so
8 dramatic, 70 percent for clothes washers, 50 percent
9 refrigerators. It's the percentages are dwindling -- the
10 kilowatt hours are dwindling down -- but it's new to old.
11 So we have purchase rebates. We have disposal rebates.
12 They're siloed. They're separate.

13 And as part of that there's inefficiencies with
14 the disposal rebates. You have to pay for a truck to go to
15 a home, which is very, very expensive. If you link them
16 together, buy something and you have to get rid of the old
17 one, the truck is at the home to deliver the new one. It's
18 in an empty truck. You pick up the old one and then you
19 get it off the grid.

20 Right now we did a look across the country from
21 what we could do, best case is pretty much nobody's linking
22 the two together -- .2 to .4 percent of U.S. households
23 have a purchase disposal linked. Now PG&E is now working
24 pretty close with a retail partner to try to link them at
25 the point of purchase and that's great. But it's very few

1 have access to a linked program. So what we're pushing
2 here is you link the two together and you'll get some
3 really dramatic savings. That's by increased participation
4 and increasing behavioral change.

5 Alan mentioned social science and behavioral
6 change. If you have a \$25 purchase rebate for an ENERGY
7 STAR refrigerator and \$50 for a disposal the consumer is
8 kind of, "\$25 rebate or \$50 rebate? That's not really
9 moving me a lot." Maybe somebody in the store might
10 influence a decision, maybe not, \$50 disposal, maybe not.
11 You've got to get over the magic three-digit \$100 to really
12 get a consumer to say, "I'm going to really have an impact
13 on this."

14 So to get it \$100 if you look at a \$50 purchase
15 rebate, \$50 disposal rebate, there's \$70 that you have to
16 go to subsidize an empty truck going to the home. But if
17 you join them all together -- \$170, \$150 rebate -- now
18 you're really changing a consumer's behavior. You're not
19 focused on somebody who's in the store trying to figure
20 out, "Oh, I'm going to buy an ENERGY STAR that's 40
21 kilowatts more, but the refrigerator costs \$400 more. And
22 my payback's 20 years." You're getting after somebody
23 who's not in the store and trying to get them off the couch
24 and get them into the store and to replace their unit --
25 somebody who's not planning on doing that. That's where

1 you really get your savings and increased participation.

2 There's some California-specific numbers on this.
3 These are estimates based on national numbers, but we did
4 it very detailed. We did the DOE. We did the whole
5 webinar with DOE and opened it up for criticism if people
6 have it. And hopefully we'll have a DOE stakeholder on
7 this, but we're looking at California to have 5.6 gigawatt
8 hours if you link these two together. And you really get
9 after the broad-based participation and looking at getting
10 the old ones off the grid and getting the new one in the
11 house.

12 One last thing is the consumer research. Just so
13 folks know about it, we do this every five years, a very
14 robust consumer research program to get after things on
15 saturation and a lot of different areas. Where efficiency
16 is on the list of purchasing decisions, is it number one,
17 is it number 10, do they even consider it?

18 Some of the things just to share is this came out
19 and this isn't public yet, but it's that many times
20 appliances are refurbished and repaired. And they're older
21 than 10years old. And there's a lot of money in it. And
22 the disposal rebates are competing with Craigslist now.
23 And you can go on Craigslist and Google how much an old
24 refrigerator or dishwasher is and you can see people
25 selling it for a few hundred, a couple hundred dollars.

1 That's hard to compete with a utility rebate.

2 Now whether somebody wants to deal with
3 Craigslist and that hassle, you have that advantage. But
4 coincidentally it also said that rebates do impact
5 consumers' disposal decisions. So you're competing with
6 Craigslist, but they do have an impact. So if you find the
7 right sweet spot, you can have an impact.

8 So here's just an example of one of the results
9 of that survey. There's a lot of that kind of information
10 here. But the big thing is that 22 percent buy used
11 refrigerators -- 22 percent. And we have other data that
12 show 20 percent of the units that recyclers pick up are
13 resold. Most of the time talking about refrigerators,
14 there's a really an inexpensive part that needs to be
15 replaced. And a lot of times these are picked up and
16 there's a big, big market on that. And so you've really
17 got to get these off the grid and you'll get a lot of
18 savings.

19 I think I'll just stop there because it's been a
20 long day. And I hope to answer any questions when that
21 time's there. Thank you.

22 MR. STEFFENSEN: Thank you Kevin.

23 Julie, from PG&E will be up next.

24 MS. COLVIN: Thank you so much for having me. I
25 know we are very close to the end of the day and we're

1 losing folks left and right here. But my name is Julie
2 Colvin. I lead the Plug Load and Appliances Programs at
3 PG&E.

4 And a number folks have alluded to the midstream
5 model that PG&E has run a pilot in 2014. And we're
6 looking to develop a more scaled pilot in 2016 and beyond.
7 So the goal is really to have simple, scaled and
8 synchronized approaches to transform markets.

9 So where are we today? Essentially, low-hanging
10 fruit is getting harder to reach in the energy efficiency
11 space. As we've all seen, you know, plug load is growing
12 and the appliance standards have really increased. But
13 here we really need to have innovative approaches to how we
14 influence energy efficiency.

15 But how do we really face the dilemmas of
16 innovation? We need to take risks. We need to change the
17 status quo. We need to accept some uncertainty, disrupt
18 the market and act fast. So instead of really running --
19 instead of sprinting we need to start running marathons and
20 looking toward long-term approaches to transforming
21 markets. And that's really the goal of the retail products
22 portfolio.

23 So we also need to synchronize our approaches and
24 collaborate. We need to build scale and -- sorry I'm so
25 nervous. Utilities need to synchronize our approaches and

1 collaborate and also really keep it simple. By keeping it
2 simple we'll get retailers to participate and we'll also
3 save costs and administration and evaluation.

4 So what have been our challenges? What are the
5 programs goals? What's the unique approach and what are
6 the opportunities? So we have three really big challenges
7 that we're trying to face. We've all mention this today:
8 growing plug load use. We have increased appliance
9 standards, our decreased ability to claim savings in the
10 utility space.

11 There's low incremental savings now associated,
12 but we can't have downstream rebates to influence
13 customer's decisions. And it's all in a setting today
14 where we're hearing that we need to have big bold energy
15 efficiency strategies. And we also need to reduce plug
16 load by 40 percent in 2020 according to the Strategic Plan.

17 The biggest challenge too, is that our customers
18 fact too many decisions. When you're in the retail space
19 there's too many choices when you're looking to buy a
20 refrigerator. You don't want to think about energy
21 efficiency, so our goal is to remove that barrier and make
22 the efficient choice default. So there's too many choices
23 when you're looking for a refrigerator. You don't to think
24 about energy efficiency when you're trying to decide where
25 the ice maker goes or what configuration you need. So how

1 do we really remove that customer choice and make it easy
2 by default?

3 The other challenging space is the retail market.
4 We have 10 big-box retailers that essentially cover 80
5 percent of the market share for both consumer electrics and
6 appliances. They really are challenged to participate in
7 utility programs, because we're seeing lower rebates
8 available to these retailers. Lighting rebates are
9 diminishing. Appliance rebates are going away. So how do
10 we maintain the relationship with the retailers? And
11 they're indicating that they really need scaled support to
12 change their buying decisions, so how can we change their
13 buying decisions? We need to do that through simple,
14 scaled coordinated approaches across the utilities.

15 So what's RPP? At the high level the goal is to
16 transform the market. Through a combination of incentives
17 and engagement we can motivate retailers to promote, stock,
18 sort and demand efficient models where they wouldn't have
19 done this absent the program, so there's short, medium and
20 long-term objectives. This can be over a ten-year program.

21 In the short term retailers can sell more
22 efficient products. We want them to promote these
23 products. In the medium term they can stock and demand
24 these products. And in the long-term, over five-to-ten
25 years we can induce sustained structural changes in the

1 market for targeted products to really accelerate and
2 increase adoption for both participating and non-
3 participating retailers.

4 So I think as we've seen this from Katharine
5 Kaplan, from the EPA, this essentially is a bit of overview
6 -- our goal in market transformation. How do we accelerate
7 adoption and increase adoption of these more efficient
8 products.

9 And what's this unique approach? We want to
10 basically influence just a hand full of retailers that can
11 sell to thousands of stores and impact millions of
12 customers. And eventually the goal is to actually
13 influence the manufacturers as far as what they're
14 demanding. And so that's the goal of market
15 transformation.

16 What does this look like in retail? It
17 essentially takes away this downstream rebate, move that
18 midstream rebate to the retailer and makes the most
19 efficient product default to the customer -- taking away
20 that choice and making these most efficient products more
21 available. This could be a refrigerator. These could be
22 electronics. This could be a platform for all products in
23 retail, but what we really need is sort of an approval of
24 this approach, to make sure that we can scale collectively
25 as utilities. And utilize this as a platform in the future

1 moving forward.

2 So we had a pilot last year that was a 14-month
3 pilot with one retailer. The goal was essentially to prove
4 the operations, determine how we can evaluate such type of
5 a program, and validate the performance. We really wanted
6 to know how the process works and demonstrate if there's
7 potential via one retailer.

8 So with the findings we only saw sort of limited
9 net effects of the program, just an influence of 5 percent
10 of the change in stock -- sorry an influence of 5 percent
11 of a lift in sales. And this is really one year. And our
12 goal is to look at something more scaled and more long
13 term. They didn't necessarily have time to change what
14 their stocking, but they're shifting most efficient
15 products to be sold in our territory for the pilot.

16 We found that what we need to do is accelerate
17 the specification with ENERGY STAR, so that we're incenting
18 above ENERGY STAR and routinely track key performance
19 indicators. So right now we're developing key performance
20 indicators to make sure if we're running a long-term
21 program that's five-to ten-years how do we make sure we're
22 on track? And what are these key performance indicators to
23 make incremental program changes and ensure the retailers
24 are implementing as they indicated they would.

25 But what's most important is that the retailers

1 really need certainty that these programs will exist and
2 that they will make these changes in their stocking if they
3 know those incentives will be there.

4 So what's been proposed for a 2016 trial is a
5 more scaled approach, like I mentioned, is with four
6 retailers and five products. There's electronics and small
7 appliances and even dryers, freezers as well. But
8 basically because those incremental savings are so small,
9 how can we try to accelerate the sale, the proportion of
10 the sale of the most efficient products, and reduce the
11 less efficient products that they're selling? We're asking
12 retailers to basically develop an implementation plan and
13 ensure that they're meeting the short term objectives and
14 promoting the programs that increasing the sale. And
15 eventually seeing a shift in what they're stocking and
16 selling.

17 And we're also coordinating on a scaled data
18 service provider. Retailers really need this to be an easy
19 approach. And when they have 400 utilities with thousands
20 of programs, how do we get their attention? It's through
21 our collaboration where we have brought partners on that
22 are working towards approval for our program launch where
23 we see about a 15 percent of the market share through this
24 participation of these partners.

25 One of the hardest things that we are faced with

1 is agreement on what products we select and how do we
2 complement existing downstream programs where other
3 utilities don't face the same challenges that we have in
4 California.

5 So where's the opportunity, and what do we need?
6 I think a lot of us have said this here, we need to --
7 given this as a core to the market transformation theory we
8 are looking at a long term approach. We are looking to
9 influence both participating stores and eventually the non-
10 participating stores. If we can provide incentives to the
11 large retailers they will eventually influence the
12 manufacturers to reduce the cost and make these products
13 more available to customers.

14 But how do we change our traditional evaluation
15 approaches that essentially count the number of rebates
16 that customers have applied for and look at more of a
17 theory-driven approach for market transformation effects.
18 How have we influenced the market? How have we accelerated
19 codes and standards? How have we accelerated the adoption
20 of these products? The devil's in the details, always.
21 How do we look at calculating our savings?

22 We actually have been working with the Cal TF,
23 California Technical Forum, over the past nine months to
24 basically gain their insight and approval of how we should
25 be claiming savings. You know, looking at the unit energy

1 savings and unit energy consumption for these products. So
2 what are some learnings, that we've had for the trial, for
3 how do we appropriately set an evaluation approach for a
4 long-term market transformation program.

5 So in summary basically the goal is that
6 utilities through scaled incentives and streamlined
7 retailer engagement will see more efficient products on the
8 store shelves. More customers will choose that efficient
9 option by default. We'll drive energy savings and see
10 market impacts.

11 That's it. Thank you.

12 MR. STEFFENSEN: Thank you Julie.

13 Last up will be Heather Larson, from StopWaste.

14 MS. RAITT: And she'll be joining us by Webex.

15 MS. LARSON: Hi, can you hear me on the line?

16 MS. RAITT: Yes, and I'll get your presentation
17 just one moment.

18 MS. LARSON: Great. All right, well in the
19 interest of time I will start talking. Thanks for
20 including the local government program implementer
21 prospective on the Panel.

22 MS. RAITT: Just let me know when you want me to
23 change slides.

24 MS. LARSON: Okay. And my slides are good.
25 Advance to the next slide.

1 So StopWaste, as I mentioned, we are local
2 government agency in Alameda County. We have a number of
3 projects that touch on appliances and plug loads. And one
4 I'm not going to go into, but I will mention is that we are
5 trying to lead by example in this area with our lead
6 existing building operations and maintenance certification.
7 We received an innovation point for implementing a plug
8 load pilot in our own office building, which includes on-
9 going monitoring of our own office spaces, which we're
10 reporting and it's fed into a number of other studies
11 including one we did a while back where a building was
12 contributing to some data around office plug load use. But
13 go ahead and go into the next slide.

14 So I'll just dive right in here. Quantity Quotes
15 is a project that we are sort of -- sort of an incubating-
16 type project that we essentially took over from the
17 Department of Energy. So back during the Stimulus period
18 DOE was pretty heavily promoting their Quantity Quotes
19 platform, which is an online marketplace for the bulk
20 purchase of resource-efficient products.

21 And after the Stimulus the site had gone dark,
22 partly due to some funding constraints. But at the time
23 DOE had recently signed an MOU with HUD, Housing Urban
24 Development -- who we do a lot of work with for our
25 multifamily program -- for use of the tool. And HUD had

1 also just recently negotiated some confirmations
2 essentially that the tool could fulfill some of the public
3 purchasing requirements to get multiple bids. And they
4 thought this was for public housing. And so they thought
5 this would be a great opportunity for getting reduced rates
6 for appliance purchases for their public housing.

7 So through our work with HUD we ended up kind of
8 getting in contact with DOE, and essentially taking the
9 tool over, and DOE contributed their consultants' time,
10 Energetics, to help us sort of revamp the site, get it
11 back up and running, and add WaterSense products to the
12 site. So go ahead, next slide.

13 And the basic concept -- you know, you don't get
14 a guaranteed percent reduction in the cost of any
15 particular product on the site. Basically any purchaser
16 can go on -- it's completely free both for purchasers and
17 vendor suppliers -- go on and say, "I need 1,000 CFLs." In
18 fact, a lot of the original users of the tool were
19 utilities in some of their CFL programs.

20 And so you can go on and say you want a large
21 purchase. And then the vendors on the other side, assuming
22 that they want your business, will respond and give you an
23 estimate for this request. And you can put in a lot of
24 details, again specify delivery over time, and you can
25 specify different types of pretty detailed information

1 about the products that you're looking for. And then the
2 suppliers or vendors follow up directly with the purchaser,
3 so they make the transaction directly. That's the basic
4 idea. Next slide.

5 And so as I mentioned, so this tool was basically
6 revamped once we took it over from DOE. And we only about
7 a month-and-a-half ago added the WaterSense products to it
8 and it's live.

9 There have been over -- I was told there have
10 been over a million items requested through the tool that
11 we know of. Because other purchases have happened offline,
12 we don't know all of the purchases that have happened, we
13 know over a half a million items have been purchased and by
14 3,000 purchasers at over 190 product providers. So it has
15 gotten some volume. So we're hoping that now it's revised
16 with some new and improved content and additional products
17 we do hope that we'll see some use of the tool again.

18 We are interested for vendors, to add vendors, in
19 particular California-based vendors or national.

20 And a couple of things -- and, you know, a couple
21 of things -- we just got it up and running and we do know
22 the only promotion we're really doing with the tool is
23 mostly through the building community. And through some of
24 the programs that we run, which are really focused on
25 property owners and building sector. And that's not always

1 -- maybe not the market that's always going to be
2 purchasing online, at least maybe not yet. Right now they
3 still have different types of vendor agreements and
4 relationships. So we know that's something that we're
5 going to have to get over.

6 Another thing we already know about sort of the
7 future of this tool is that, you know, for public agencies,
8 even though there's a concept of getting multiple bids in
9 one step should be attractive there are other requirements
10 for purchasing in most public agency procurement processes,
11 especially things like local hiring or using women or
12 minority businesses that this tool doesn't satisfy. And so
13 for an entity like a school or local government, who may
14 want to use this, they may resort back to their standard
15 RFP pre-qualified vendor process, because of those specific
16 local requirements.

17 So those are things we already know that are
18 going to be barriers. But the site is up and running and
19 you can go to QuantityQuotes.net yourself and see the
20 product categories that are on there.

21 So moving right along to the next project that
22 touches on appliances that we've been working on -- the
23 Home Energy Analyzer was a pilot that we launched sort of
24 when we were in the throes of doing outreach marketing
25 program implementation for Energy Upgrade California for

1 the single-family market. Most people that had anything to
2 do with that program know that home upgrades are a really
3 tough sell. You know, it's a big ask to get home owners to
4 kind of say, "Hey, do you know about energy efficiency?
5 Now, don't you want to spend thousands of dollars to tear
6 apart your home and hire a contractor and give him this big
7 project?"

8 And so there's a number of people who quickly
9 realized there could be sort of an onramp to engage people
10 in these more behavioral type pilots. Some of them
11 mentioned such as the old Power Type Tool (phonetic) or CSA
12 recently hired PlanetEcoystems for a state-wide behavioral
13 pilot.

14 But in our experience when we did this -- and it
15 was back in 2013 -- we did an RFP for some of these
16 different software. And there's a bunch of them out there,
17 the two I mentioned the two I mentioned, plus a handful of
18 others. And most of them do peer-to-peer comparisons. But
19 what we were interested in was APA at the time, was because
20 it does energy induced disaggregation. So if I had more
21 time and slides I'd show you all the nice graphs of how
22 they get to the induced disaggregation that basically
23 breaks it down to base load, recurring load, variable load
24 and heating and cooling. And then you can kind of see
25 where the high and low-energy end users are. You can go to

1 the next slide.

2 So we were really interested in this end use
3 disaggregation, because we saw it as a way to essentially
4 kind of classify the single-family home market into those
5 that may be good candidates for Energy Upgrade California.
6 And we have some great data about the high-quality leads
7 that were fed into the program and the high-conversion
8 rates of the projects that came in through here, had this
9 prescreening. You know, their highest loads were in the
10 heating and cooling areas. They would be good referrals
11 for Energy Upgrade California.

12 But the ones who were sort of identified as high
13 base-load users we did one-on-one phone engagement with
14 them to talk about how they could affect their plug loads.
15 And next slide.

16 And basically out of the 198 users that got in
17 the tool over a one-year period 160 households -- and this
18 is just within Alameda County where we ran this pilot -- it
19 was kind of combined with Energy Upgrade California and
20 Alameda County implementation of it. We had 948 users in
21 the tool, 160 households were identified as high plug load
22 users from the peer-to-peer comparison analysis. And of
23 those, these were the actions that were recommended to
24 those high plug load users that you see on the screen here.

25 So these were things that, you know, on these

1 phone consultations we could talk with people about, "You
2 were identified as a high plug load user. It doesn't look
3 like it would make sense for you to do a whole building
4 upgrade since you're not using heating or cooling or
5 whatever, but here's what you can do in your plug loads."

6 And we also had the data, because this connects
7 directly to PG&E data. They do have to go through that
8 process, but we did see over a year on average, the users
9 were saving \$140 on their utility bills, of these users.
10 So we did see some actions taken on these recommendations
11 and some specific savings on the user. So we got some
12 great data out of the tool. Next slide?

13 And lastly, sorry, this is a compilation of some
14 different projects we've been working on in this space.
15 But we run some multifamily programs. We have a long
16 history, since the 1990s we've been doing work in the
17 multifamily space. And what this sort of end diagram is
18 meant to point out is there is a little bit of different
19 sort of entity who may be purchasing appliances in the
20 multifamily as compared to the single-family residential
21 space.

22 So in multifamily, particularly renter which is
23 kind of the biggest portion of the multifamily market, the
24 appliances are often supplied by the owner and the
25 management. And then the consumer electronics are often

1 tenant-supplied. And so whereas in single-family it's more
2 common for the homeowners themselves to purchase the
3 appliances. So there is kind of a big opportunity with the
4 sort of development, and with the programs, and with the
5 property owners to at least get the appliances into their
6 programs with multi-family. And next slide.

7 We have most of the Energy Upgrade California
8 multifamily programs throughout the state are including
9 some appliances within their programs. Some treat them
10 differently, some have sort of individual incentives for
11 them, and some model as a whole building approach. But in
12 our case so we're running an approximately a \$10 million,
13 this year, incentive program; it's been a very successful
14 multifamily program. And last year we closed out this
15 placement of 8,500 units within the Bay Area.

16 And the way that we're handling appliances in
17 here is that it's basically bundled within sort of the
18 package of required improvements as a whole building
19 approach. And so some of the appliances that they can use
20 are clothes washers, dish washers and refrigerators and
21 it's part of that overall percent improvement that they
22 have to meet. We have approximately about around 10
23 percent of the projects are using appliances as part of
24 their mix.

25 And this is one of those things with multifamily

1 where they need a lot of flexibility, because in some cases
2 they may be able to get into the units and install upgrades
3 and in other cases they may not. And so but when there are
4 opportunities they want to do it where they're doing other
5 work in the units. And so it's been effective to include
6 appliances as part of this overall (indiscernible).

7 And so we're not paying extra incentives per
8 piece of equipment. It's a flat per-dwelling unit
9 incentive for bidding the whole building approach and then
10 we get the appliances within that package.

11 Another thing to note about the way that we're
12 doing this, the program had developed -- it was actually
13 partly with Stimulus funding and then later on was a
14 program from the Bay Area Regional Energy Network. This
15 Energy Pro Lite software is a version of Energy Pro that's
16 specifically piloted through our program, because some key
17 components to it -- we went through a stakeholder process
18 to develop it with the IOUs and the CPUC and CEC staff and
19 InEvaluation (phonetic) staff.

20 And one of the key things that came out of the
21 development of the software was it is basically not using
22 the HERS II engine, which does include appliances and
23 lighting in the calculations. But it really relies on a
24 non-res compliance module, which is essentially
25 (indiscernible) II. And there were a number of reasons for

1 this, but one of them was because it had the ability to
2 enter custom calculations into the model. And so it
3 enabled us to basically take a look at sort of what were
4 the defaults in the information that was coming out of HERS
5 II assumptions for appliances as compared to some other
6 methodologies for estimating savings on appliances. So
7 then we can kind of take a look at different ways to input
8 savings into that whole building approach.

9 So lastly, I'll just -- on our multifamily note,
10 another thing for this particular market sector is that we
11 see in the whole building approach an opportunity to get
12 the appliances in there, but it's not going to always work.
13 And we do see anecdotally, particularly actually on the
14 water fixture side we see a lot of times where owners are
15 doing appliance upgrades at the time of the unit turnover,
16 so they may -- we go into a building and they say, "Oh,
17 well half the building has high-efficiency toilets or has a
18 new refrigerator and half doesn't." And it's because each
19 time Joe Hurley and his Dalmatian or Grandma Sue go out
20 then it's the time to go in and replace the carpet and
21 refrigerator and toilet.

22 And so we do see these upgrades over time in the
23 units from another strategy that is different from this
24 whole building approach. So that's sort of another angle
25 we've taken in working with property management as a unit-

1 by-unit appliance turnover approach.

2 So I'm going to leave it at that, but I'd be
3 happy to follow up with more detail on any of these
4 projects. Thank you.

5 MR. STEFFENSEN: Okay. Thank you, Heather.

6 That concludes the Panel. I would like to ask
7 the Commissioner if he would like to ask the Panel any
8 questions?

9 COMMISSIONER MCALLISTER: Well, we were pretty
10 far overtime here, so I don't want to keep people too long.

11 I guess, Heather, I was interested in your
12 characterization or your description of some of the
13 potentials, but also the limitations of bulk procurement
14 approaches. And that's something obviously that we mention
15 in the AB 758 Action Plan as a potential strategy. And I
16 certainly value your insight there on the turnover strategy
17 as well, sort of complimenting that.

18 I guess, I'm wondering if you've had any
19 interaction with -- you know, you mentioned some of the
20 procurement difficulties. But for example, DGS is a place
21 where for the state -- I don't know if you've talked with
22 them at all about the potential for state buildings. I
23 don't know that you work with them directly, but I'm kind
24 of thinking that that's one area where they do a lot of
25 procurement. And potentially having large numbers would

1 give them some market power.

2 And then you mentioned multifamily, but I think
3 in HUD -- it's great that you're working with them -- I'm
4 wondering if you have talked with CSD and I imagine also
5 the utilities you've talked to, about potentials for bulk
6 procurement in terms of the LIEE Program and some of the
7 low-income initiatives and whether there might be an
8 opportunity there to standardize on highly, highly
9 efficient appliances?

10 MS. LARSON: Uh-huh. You know, we haven't and we
11 really just kind of took this over and got this
12 (indiscernible). We haven't gone on a road show promoting
13 it yet, so we -- this is a good opportunity to let people
14 know it's out there. And we're kind of formulating a plan
15 to try and get this out there.

16 It's kind of one of our little incubator projects
17 and we were hoping that just through the relationship with
18 HUD that it would kind of pick up and they would have some
19 interest in it. And so working with DGS and CSD are good
20 suggestions.

21 You know, I do know that there's other folks at
22 our office here who work more with like the local sort of
23 DGS equivalent where they're doing environment preferable
24 purchasing. And if you wanted to get more into like sort
25 of breaking down the nuts and bolts of some of the barriers

1 to those purchasing, because a lot of the locals are doing
2 simple purchasing, those folks might have a lot more
3 insight on that. That we could rope into the conversation.
4 I'm kind of the messenger here today.

5 But I do think there's folks with a lot more
6 experiences of how those purchasing agreements are already
7 made and how we could get in and standardize them a little
8 bit more.

9 COMMISSIONER MCALLISTER: Yeah, I guess to ask
10 right now is we should engage with you, our staff on the AB
11 758 -- should engage with you and try to tighten up that
12 part of the Action Plan to get it to a final version of
13 that section. I think that could be very fruitful. So
14 thanks very much. Thanks for taking that on. I mean, it's
15 really tremendous. It gives you kind of a natural national
16 reach as well, because that's a national tool, right?

17 MS. LARSON: Yeah, it is a national tool. And
18 yeah, I believe -- you know, we took it on. And really the
19 only sort of -- DOE essentially handed it over and handed
20 over some resources with their consultants. But other than
21 that it's kind of our own initiative. And so it'd be great
22 to get some life into it in terms of getting it out there
23 and promoting all of that, because we're only just kind of
24 mentioning it word of mouth through our other programs. So
25 we don't have like a full-blown campaign behind it right

1 now, so if others are interested it could use some life in
2 that regard.

3 COMMISSIONER MCALLISTER: Very well. Well,
4 thanks a lot for being here.

5 I don't have another other specific questions. I
6 want to respect everyone's time and we're already over 5:00
7 here. But your presentations have been a lot of fodder for
8 us to think about, I think. And, you know, certainly I saw
9 Alan Meier just leave, but his recommendations were great
10 and we'll sort of mull those over. And hopefully have some
11 further interaction in the future.

12 Thanks to everybody for being here, I really
13 appreciate it. I don't know, Sean, do you have any other
14 questions for the Panel?

15 MR. STEFFENSEN: Yeah, it's somewhat late. So I
16 think I'll hold it anyway.

17 COMMISSIONER MCALLISTER: Okay, the Last Panel
18 Syndrome, sorry about that.

19 But really thanks to everybody for your
20 participation. It's been terrific and I'm really, really
21 glad we were able to pack a lot of substance into half a
22 day. So thanks for being here.

23 (Whereupon, at 5:23 p.m., the workshop
24 was adjourned)


25 --oOo--

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 14th day of July, 2015.



PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 14th day of July, 2015.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852