

## DOCKETED

<b>Docket Number:</b>	15-MISC-04
<b>Project Title:</b>	Fuels and Transportation Merit Review
<b>TN #:</b>	206524
<b>Document Title:</b>	Transcript of the September 18, 2015 Lead Commissioner Technology Merit Review Workshop
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	11/6/2015 9:22:42 AM
<b>Docketed Date:</b>	11/6/2015

## CALIFORNIA ENERGY COMMISSION

## STAFF WORKSHOP

In the Matter of:	)	Docket No. 15-MISC-04
	)	
ARFVTP Technology Merit Review:	)	Lead Commissioner
Biofuel and Biomethane Project	)	Technology Merit Review
<u>Success</u>	)	Workshop

## CALIFORNIA ENERGY COMMISSION

THE WARREN-ALQUIST STATE ENERGY BUILDING

ART ROSENFELD HEARING ROOM

(HEARING ROOM A)

1516 9TH STREET

SACRAMENTO, CALIFORNIA

FRIDAY, SEPTEMBER 18, 2015

9:00 A.M.

Reported By:  
Susan Palmer

## APPEARANCES

Commissioners Present

Janea A. Scott, Lead Commissioner

Staff Present

Bill Kinney, Emerging Fuels and Technologies Office  
Fuels and Transportation Division

Tim Olson, Energy Commission  
Fuels and Transportation Division

Presenters

Harry Simpson, President, Crimson Renewable Energy, L.P.

Susan Kennedy, Special Projects Manager, South San  
Francisco Scavenger Company

Evan Edgar, Principal, Edgar and Associates - Blue Line  
Transfer

Tom Koehler, Vice President, Pacific Ethanol, Inc.

Paul Relis, Senior Vice President, CR&R, Inc.

Reviewers/Commenters

Corinne Drennan, Laboratory Relationship Manager for  
Biomass, Pacific Northwest National Laboratory

Stephen Kaffka, UC Davis Agronomist and California  
Biomass Collaborative

Sam Wade, Transportation Fuels Branch Chief, California  
Air Resources Board

Clark Williams, Environmental Program Manager, CalRecycle

## APPEARANCES (CONT.)

Public Comment (\* Via telephone and/or WebEx)

Paul Gruber, ITS, UC Davis

Julia Levin, Bioenergy Association of California

David Rubenstein, CE&P

Evan Williams, Cambrian Energy Development LLC

Amy Schwab, National Renewable Energy Laboratory

Kevin Miller, City of Napa

James Boyd, Boyd Consulting Group

Shawn Garvey, Grant Farm

Michael Paparian, Climate Reality Leader

I N D E X

	<u>Page</u>
Introduction	
Tim Olson, Energy Commission Fuels and Transportation Division	8
Opening Remarks	
Commissioner Janea A. Scott, Lead Commissioner for Transportation	9
Staff Presentation	
Bill Kinney, Emerging Fuels and Technologies Office, Fuels and Transportation Division - Overview of Biofuel and Biomethane Projects Funded by the Alternative Renewable Fuels and Vehicle Technology Program	12
Biofuel and Biomethane Production Projects	
<u>Presenter</u>	
Harry Simpson, President, Crimson Renewable Energy, L.P.	18
<u>Reviewers/Commenters</u>	
Introduction of Reviewers	38
Corinne Drennan, Laboratory Relationship Manager for Biomass, Pacific Northwest National Laboratory	41
Stephen Kaffka, UC Davis Agronomist and California Biomass Collaborative	45

I N D E X (CONT.)

	<u>Page</u>
<u>Reviewers/Commenters</u> (Simpson Cont.)	
Sam Wade, Transportation Fuels Branch Chief, California Air Resources Board	52
Clark Williams, Environmental Program Manager, CalRecycle	57
<u>Presenter(s)</u>	
Evan Edgar, Principal, Edgar and Associates, Blue Line Transfer	59
Susan Kennedy, Special Projects Manager, South San Francisco Scavenger Company	69
<u>Reviewers/Commenters</u>	
Clark Williams, Environmental Program Manager, CalRecycle	77
Sam Wade, Transportation Fuels Branch Chief, California Air Resources Board	83
Stephen Kaffka, UC Davis Agronomist and California Biomass Collaborative	85
Corinne Drennan, Laboratory Relationship Manager for Biomass, Pacific Northwest National Laboratory	88
<u>Presenter</u>	
Tom Koehler, Vice President, Pacific Ethanol Inc. - Ethanol Production Plants in Stockton and Madera	92

I N D E X (CONT.)

	<u>Page</u>
 <u>Reviewers/Commenters</u> (Koehler Cont.)	
Corinne Drennan, Laboratory Relationship Manager for Biomass, Pacific Northwest National Laboratory	97
Stephen Kaffka, UC Davis Agronomist and California Biomass Collaborative	99
Sam Wade, Transportation Fuels Branch Chief, California Air Resources Board	102
Clark Williams, Environmental Program Manager, CalRecycle	104
 <u>Presenter</u>	
Paul Relis, Senior Vice President, CR&R, Inc. - Biomethane Project in the City of Perris	105
 <u>Reviewers/Commenters</u>	
Clark Williams, Environmental Program Manager, CalRecycle	120
Sam Wade, Transportation Fuels Branch Chief, California Air Resources Board	123
Stephen Kaffka, UC Davis Agronomist and California Biomass Collaborative	125
Corinne Drennan, Laboratory Relationship Manager for Biomass, Pacific Northwest National Laboratory	129

I N D E X (CONT.)

	<u>Page</u>
Public Comment	134
Adjourn	162
Court Reporter's Certification	163
Transcriber's Certification	164



## P R O C E E D I N G S

SEPTEMBER 18, 2015

9:07 A.M.

MR. OLSON: Good morning, everybody. We'd like to start our workshop today. So this is the Transportation Lead Commissioner Workshop Technology Merit Review: Biofuel and Biomethane Project Success. And if you're here for a different workshop, this is the wrong room.

I'd like to go through just a couple of things before we turn it over to the Commissioner here. Just a little bit of housekeeping. If you need to leave, if you have an emergency and you have to leave the room, then you'll need to go out the front doors here off the room to the left, also to the right, and then head over to the park if there's an emergency.

Also, on the second floor you're welcome to go up to the snack bar. There's coffee up there if you need that. And the bathrooms are right out the door to the left.

So we have a -- this looks like this event will -- today's workshop will last most of the morning. We're going to have -- Bill Kinney is going to do -- after Commissioner Scott gives some opening remarks, Bill Kinney is going to give some overview of where we spend our money in the biomethane and biofuel projects in our Alternative and Renewable Fuel and Vehicle Technology Program.

1           And then we will go through each presentation  
2 from four companies. And as we go through each  
3 presentation, we have a review panel that will comment on,  
4 and add their insights on each project.

5           And then after going through that, at the end of  
6 the morning, we'll open up for public comment.

7           And I also need to let you know that there's an  
8 updated notice for this workshop on the table up front.  
9 And the only change from before is that it adds in the  
10 E-filing and E-commenting directions on if you wanted to  
11 put things into our docket or send a comment letter. That  
12 system is -- we're in transition. That's kind of the new  
13 direction of this agency. So that when you look in our  
14 docket for comments, you can open those items up easily and  
15 look at them and comment on them, if you wanted to. Plus  
16 you can deposit your own items.

17           And, with that, Commissioner Janea Scott, would  
18 you like to make some comments?

19           COMMISSIONER SCOTT: Good morning.

20           Thank you very much, Tim.

21           I first really want to warmly welcome both our  
22 project folks, who will talk to us in more detail about  
23 their projects. Thank you so much for being here this  
24 morning. And also our reviewers, who have taken time to  
25 read through in great detail, information about the project

1 so that we can have a really great discussion this morning.

2           What we wanted to do was style this a little bit  
3 after the Department of Energy's Annual Merit Review. We  
4 don't have the ability to go through literally every  
5 project that we fund every year. But we thought that we  
6 would start with a few key projects and really have a  
7 chance to kind of dig in and look and see what we can learn  
8 about those projects, figure out what the successes have  
9 been. And if there are things in there that we can take  
10 and bring to other projects in this area to identify the  
11 challenges and barriers that folks are facing.

12           And to the extent that they are similar or that  
13 we can strategize around how to solve those to continue to  
14 move the industry forward, those are things that we're  
15 looking to identify as well. In addition really, to any  
16 lessons learned from the projects that we can take forth  
17 and use to continue to improve how effectively we at the  
18 Energy Commission run our program.

19           So the Energy Commission -- and I won't go into  
20 this too much, because I know you'll get a presentation  
21 from Bill in just a minute -- has funded several biofuel  
22 and biomethane projects. And we're beginning to see  
23 progress in many of those areas.

24           We funded those projects through our Alternative  
25 and Renewable Fuel and Vehicle Technology Program, which

1 gives the Energy Commission up to \$100 million to invest in  
2 transforming transportation across a broad section of  
3 transportation.

4 And so we really look forward to the continual  
5 progress that these fuels have to offer to reduce  
6 greenhouse gases and to displace petroleum and also to help  
7 us meet our clean air goals across the state.

8 I want to say thank you very much to Tim Olson  
9 and also to our project partners at UC Davis, Paul and his  
10 team. Without their vision and diligence, we wouldn't have  
11 been able to put together the terrific review that we  
12 anticipate having this morning.

13 For those of you who are in the audience, we have  
14 these blue cards. The blue cards are sitting on the table  
15 kind of right there at the entrance. If you would like to  
16 make a public comment, please fill out one of the blue  
17 cards. You can hand it to Tim or come right up here if you  
18 want to and hand it directly to me, and that's how we'll  
19 know that you would like to make a comment if you're here  
20 with us in the room. I just wanted to make sure folks knew  
21 about that.

22 And, with that, let me turn it over to Bill.

23 MR. OLSON: Let me just also mention -- I forgot  
24 to mention my name -- Tim Olson. I'm the point of contact,  
25 you'll see on the workshop notice. And, if you have a

1 question, you have my e-mail and phone number if you have  
2 any future questions, I guess.

3 So Bill Kinney, please?

4 MR. KINNEY: You might want to be careful because  
5 every time I start to speak at these public meetings, the  
6 computers go out.

7 (Laughter.)

8 COMMISSIONER SCOTT: I don't want that. That's  
9 for sure.

10 MR. KINNEY: There's just a history of that. I  
11 think we we dodged a bullet here.

12 Yes, I'm Bill Kinney. I'm the Technical Lead for  
13 Biofuels. And I'm just going to give you a few highlights  
14 of where we're at right now.

15 These are the policy objectives. I think we've  
16 seen these the last couple of days, but just a quick review  
17 of the policies relating to biofuels and alternative fuels:  
18 The Greenhouse Reduction AB 32, the Alternative Fuels Plan,  
19 the low carbon fuel standard -- of course, we talked a lot  
20 about that yesterday, the federal RFS2, Renewable Fuel  
21 Standard Clean Air Act and the ZEV Mandate.

22 Just a quick review. We've gone through  
23 reauthorization and AB 8 has moved us forward to the 2020s.  
24 And we're trying to hopefully look towards the future in  
25 how we can do things better than we have in the past.

1           Sustainability has always been part of the AB 118  
2 and AB 8 program -- just a quick reminder that we still  
3 look at sustainability as one of our key scoring criteria.

4           This is just a quick overview, really, of what  
5 we've done in funding. And I think this includes the last  
6 six of them, 14602?

7           UNIDENTIFIED SPEAKER: Perhaps.

8           MR. KINNEY: Yeah.

9           And so we still have quite a bit of funding in  
10 biomethane production. That was more unbalanced in the  
11 previous years. More recently, we've had more diesel  
12 substitute funding and gasoline substitute funding. So the  
13 percent of total are roughly equal -- actually diesel  
14 substitutes is a little bit ahead of that.

15           In terms of the kinds of projects that we've got  
16 in the latest round, we're happy with the trend that we're  
17 seeing. We actually had some very interesting commercial  
18 scale biomethane projects that we funded. And we feel like  
19 that's a -- that's a very encouraging trend.

20           The diesel substitutes' production was also very  
21 encouraging. We had very high cost effectiveness, if you  
22 want to phrase it that way, in terms of our investment in  
23 diesel substitute production facilities. We were getting  
24 very high return on our invested dollar.

25           Just a quick overview. I think maybe we talked

1 about this yesterday as well. Just the general volume of  
2 feedstocks we had. This may not be the latest. I'm sure  
3 Steve Kaffka can comment on whether we need to update this  
4 table or not. But, overall, we have quite a bit of  
5 potential in waste-based feedstocks, as we talked about  
6 yesterday. That is a limit on how far we can go in terms  
7 of feeding the -- or meeting the state policy goals.

8           So in terms of our investment goals, strategic  
9 investment goals, we've been trying to build capacity of  
10 California firms producing second- and third-generation  
11 biofuels using advanced technologies and waste-based  
12 alternative feedstocks.

13           We have tried to balance investments among  
14 competing needs across different stages of development,  
15 fuel types, project scales, and feedstocks. And we have  
16 had silos by fuel type, and we're contemplating whether we  
17 need to silo by stage as well. We actually have, in a  
18 sense, siloed by stage because we've had a separate  
19 solicitation just recently, which was noncommercial  
20 early-stage development. And so, in a sense, we've created  
21 a separate playing field for those kinds of projects.

22           So problem -- a key problem we face is how do we  
23 leverage scarce historical ARFVTP resources. If our  
24 historical annual funding were to continue, presents us  
25 with some challenges in trying to meet the needs of the

1 evolving industries and sectors. So we need to figure out  
2 how to develop strategies to facilitate increased support  
3 for extra Merrill (phonetic) funding for production and GSD  
4 displacement policy goals. And we would like to strengthen  
5 our recipient project performance. We've had some hiccups  
6 in our projects, and so we're always looking for ways to  
7 see how we can make that process run more smoothly.

8           So these are some of the emerging issues as we  
9 look to develop and implement our upcoming solicitations.  
10 We've been evaluating our projects based on business  
11 viability, cost effectiveness at meeting policy goals,  
12 project readiness, economic impacts, and environmental  
13 sustainability.

14           This is a very information- and labor-intensive  
15 process for both applicants and our evaluation teams. The  
16 large number of applications that we get and the labor  
17 intensiveness of the process limits our ability to do the  
18 kind diligence that we would like to do. We do have  
19 technical reviewers. We have a very rigorous process, but  
20 we need to make it more rigorous. And we believe maybe,  
21 you know, that -- our team, anyway, believes that the  
22 quality of the applications is somewhat constrained by this  
23 labor- and information-intensive process.

24           We get applications that really have insufficient  
25 resources, that have unrealistic goals trying to meet, you



1 know, the perimeters of a solicitation. Our scoring teams  
2 face an information overload in terms of evaluating a large  
3 number of proposals over a four to six-week period. We  
4 need deeper and more experienced technical support. We  
5 have technical support, but we really need to reexamine how  
6 we access that expertise.

7 And, as we discussed yesterday, you know, the  
8 grant funding was approximately 20 million a year, is not  
9 adequate for large commercial-scale support, financial  
10 support.

11 And so we're looking at alternative scoring and  
12 funding mechanisms to see if we can leverage our scarce  
13 resources, our annual allocation, more effectively. And  
14 we're hoping to collaborate with stakeholders to create  
15 a better, deeper, and broader knowledge of the different  
16 sectors' capacities for expansion.

17 So we'd like to have a clear idea of -- in the  
18 next one, two, three, four five years what the sectors can  
19 bring online in terms of capacity expansion.

20 So, in conclusion -- this is just a very quick  
21 overview, I'll certainly entertain questions -- our biofuel  
22 producers face challenges in responding to market  
23 opportunities to meet climate change and petroleum  
24 displacement goals. To meet the state and federal policy  
25 objectives for transportation fuels, our state's industries

1 will need increased regulatory certainty -- we touched on  
2 that many times yesterday -- especially at the federal  
3 level.

4 And, clearly, funding that goes outside of  
5 traditional allocation through AB 8 because either we have  
6 to leverage those scarce resources considerably more than  
7 we have, or we need an order of magnitude increase in  
8 public funding to support the kind of commercial scale that  
9 those goals are asking for.

10 So we have just, you know, the standard contact  
11 information, and I'll entertain any questions if you have  
12 any.

13 COMMISSIONER SCOTT: Any burning questions from  
14 the table here?

15 (No audible response.)

16 COMMISSIONER SCOTT: Okay, great.

17 Thank you very much, Bill, for your overview  
18 presentation.

19 Tim, do you and I want to kind of tag team the  
20 discussion --

21 MR. OLSON: Yeah.

22 COMMISSIONER SCOTT: -- or do you want to --  
23 okay.

24 MR. OLSON: So what I'd like to do is we're going  
25 to go through the order of the agenda for the

1 presentations.

2 Harry Simpson, Crimson Renewable, is first. We  
3 have a tag team of Evan Edgar and Susan Kennedy for the  
4 Blue Line project, Tom Koehler for Pacific Ethanol, and  
5 then Paul Relis. And maybe as we get into the review  
6 comments, I'll introduce -- go through the backgrounds of  
7 the reviewers, too.

8 So, to start off, I'd like to invite Harry  
9 Simpson to start his presentation. Harry is the President  
10 of Crimson Renewable Energy, which built operates the  
11 biodiesel plant in Bakersfield. We think that's the  
12 largest producing plant in the state, and the largest  
13 capacity, too, at this point.

14 And so, Harry, could you -- you can do it up here  
15 or from there, however you want to do it.

16 MR. SIMPSON: Do it up there. Thanks, Tim.

17 We'll get started. I won't bore you with a big  
18 long commercial about our company. But real quick, yes, we  
19 are now the largest biodiesel producer in the state.

20 We run mostly used cooking oil, corn oil from  
21 ethanol plants, some of it from here in California, some of  
22 that corn oil hydrate. Most of our used cooking oil comes  
23 from within California. We'll also run animal fats since  
24 largely our plant prior to the CEC-funded project was all  
25 internally developed technology.

1           We sell most of our biodiesel to major oil  
2 companies who are LCFS-obligated parties, as well as large  
3 fuel wholesalers and some truck stop operators. That's  
4 pretty typical, I would say, for most biodiesel producers  
5 in terms of, you know, customer basis.

6           Prior to funding our plant was sort of maxed out  
7 at just over 10 million gallons a year. The goal, when we  
8 submitted the application back in June of 2013, was to  
9 expand the plant to 22 million gallons a year.

10           So the project goals that were outlined was to  
11 increase the output of renewable transportation fuels,  
12 carbon reduction, increase sustainability, and I believe  
13 some economic development. I put a question mark because I  
14 couldn't recall, quite frankly, going back a few years ago  
15 whether that was one of the stated project objectives.

16           Essentially, it's about investing California  
17 taxpayer' dollars to realize, I think, some of the economic  
18 benefits from its carbon reduction policies and get  
19 projects in place that will help the state achieve those  
20 carbon reductions.

21           So, aligning that with our project -- well, it  
22 was to more than double our production over two years. It  
23 was a multiphase project from the outset, essentially two  
24 main phases with a couple of smaller intermediate mini  
25 projects, if you will, within that. And the goal was to

1 reduce the carbon intensity of the biodiesel. I would say  
2 that was more of a secondary goal. Our carbon intensity,  
3 based on the feedstocks we used was already quite low. We  
4 felt that if we could do a couple of changes to the plant  
5 within the context of the existing corn technology we might  
6 be able to run a little bit more of, for instance,  
7 distillers' corn oil from ethanol plants, which today is  
8 the lowest scoring type of diesel alternative fuel  
9 available under LCFS.

10 In terms of sustainability, we were looking to  
11 improve our water utilization and energy efficiency. And,  
12 very simply, we just simply look at for each gallon of  
13 biodiesel produced how much water are we using and what are  
14 the energy inputs in terms of BTUs and kilowatts.

15 So progress to date. You know, we applied back  
16 in June of '13, contracts were signed and right before the  
17 year's end in 2013. Our project was already CEQA approved  
18 and we got to work pretty quickly. Began the first phase,  
19 the construction of that, in April '14; completed that in  
20 May. Thus far, I would say we're at about 60 percent.  
21 We've completed everything except that second major phase  
22 of the project.

23 That said we're still a little bit behind  
24 schedule. We're going to complete in late Q1 next year,  
25 maybe mid Q1, if we're a little lucky, instead of the

1 2013 -- or 2015 Q3 time frame when we originally submitted  
2 this.

3           So, given that we did this back in June, I feel  
4 pretty good, and I hope the CEC feels good, that we have  
5 executed pretty much on schedule and I think faster than  
6 just about most projects they have funded.

7           So our carbon production rate is actually better  
8 than where we thought we'd be at this point. For the last  
9 few months, we've been running at a little over 18 million  
10 gallons a year annualized. We didn't think we could quite  
11 do so well with where we are in terms of the various phases  
12 of the project, so that's been a very pleasant surprise.

13           Our carbon intensity has been ranging from 11 to  
14 16 and a half, depending on what we're buying in any given  
15 week or month. It is marginally better than perhaps where  
16 it was back in 2013.

17           We have seen some improvements in water  
18 utilization and energy utilization. I would say the energy  
19 utilization had to do more with, we put in a new steam  
20 system. One of the problems at our plant was we didn't  
21 have enough heat to really run at a much higher capacity.  
22 You know, steam heats. So we put in a new steam system  
23 that's a little bit more efficient. And, in general, I  
24 think, for us, it's expanding that production  
25 significantly. You know, for most biofuel plants, you kind

1 of have a baseline energy loading. Whether you're making,  
2 you know, in our case, 1 million gallons a year, or 20  
3 million gallons a year, I'm going to have a certain  
4 baseline energy cost. So the higher rates that we can run  
5 at, the more efficient we'll be in terms of energy  
6 utilization per gallon produced.

7 In terms of budgeting, originally, the budget  
8 submitted was a bit over 10-, I think close to \$11 million.  
9 We ran a little bit over budget. I have yet to see in a  
10 project over the course of my career in different  
11 industries that has ever come in exactly on budget. But,  
12 you know, you could argue, "Hey, not the CEC's problem,"  
13 right? If the project runs over, you know, it comes out of  
14 the matching funds. And I would say in terms of the  
15 comment "It's not the CEC's problem," that's yes and no.  
16 Because if the project owner/operator doesn't have or  
17 didn't budget and doesn't have ability to have a cushion  
18 for the matching funds based on the budget that was  
19 submitted, the project won't get finished. And to assume  
20 that projects are going to come in on budget is naive, to  
21 say the least. It's just not the reality in the real world  
22 from anything I've ever seen and from people that I talk to  
23 across multiple industries. So I think it does become the  
24 CEC's problem, because a project that doesn't get finished,  
25 is a waste of everyone's time and money.

1           The other goal we had was to expand employment,  
2 so we brought on five new staff in line with where we  
3 expected to be as we ramped up production.

4           So I think, you know, why were we successful? I  
5 think that was one of the things Tim asked me to address so  
6 that everyone could try to learn from that.

7           I think one of the big ones is we had the  
8 matching funds in terms of -- we actually had the cash. I  
9 think some of the projects that have gotten funded, you  
10 know, you're trying to get the project grant award and then  
11 go out and secure the capital for the matching funds. And  
12 that's a little bit of a chicken-and-an-egg issue.

13           The other thing I'm seeing with some projects is  
14 that matching funds -- to demonstrate that you have  
15 matching funds, some projects have been able to utilize,  
16 for example, the feedstock that they're going to be running  
17 for the project to make the renewable fuel. And that, to  
18 me, is I think really a mistake. Because feedstock with a  
19 capital to purchase feedstock and raw materials, that's a  
20 separate issue. I mean, first and foremost, does the money  
21 exist to construct the asset and get it done, right? And  
22 then once you have the asset built and you need to operate  
23 it, then you need the working capital to purchase raw  
24 materials, handle payroll; essentially, fund the gap in  
25 timing from when you buy raw materials, produce the stuff,



1 sell it, and get paid. That's what working capital's  
2 about.

3           And to mix the two, when you're talking about  
4 having funds available in terms of capital asset  
5 construction and allow you to use working capital to say  
6 that you've got the money to build the asset, I think is  
7 a -- just doesn't make sense, frankly.

8           So we have money. That was, I think, a big one.  
9 And we had expected to probably run over budget. And we  
10 had already budgeted -- although it was not required in the  
11 grant and it wasn't part of our submission, but,  
12 internally, we certainly planned for a 20-percent cushion.

13           I think the other thing for us was that we have a  
14 strong team. I mean, we -- everyone on my team, prior to  
15 even joining us, had been in the biodiesel industry in  
16 terms of large-scale biodiesel production. You know, big  
17 plants. One of my guys was involved in the design and  
18 construction of three plants that were between 30 and 60  
19 million gallons a year in capacity for each plant. So we  
20 had an experienced team.

21           We also had the experience of building and  
22 operating our own plant, sort of the first go-around, if  
23 you will. And some of you may know that the first time we  
24 built that plant back in '09, it was a complete disaster.  
25 It was internally developed technology. It's a long story.

1 Happy to share it over a beer if anyone wants. But, you  
2 know, we learned a lot from that experience and could apply  
3 it in new sort of exactly what not to do and what we needed  
4 to do to get it right the second time.

5 So I think one of the major pitfalls, when  
6 projects are being evaluated, is looking at the team. I  
7 think some projects get funded by people who have, frankly,  
8 never been there, done that. And I don't even mean -- I  
9 mean, ideally, you have a project team -- you know, if they  
10 want to build a, you know, cellulosic ethanol plant, well,  
11 that's kind of cutting-edge. Not too many people have been  
12 there and done that, but they've done something very close  
13 to that.

14 But if you have a team that, let's say, in the  
15 case of biodiesel, all they've ever done is collect used  
16 cooking oil and now they want to go out and build a  
17 biodiesel plant, let me tell you, the difference between  
18 collecting used cooking oil and cleaning that up so that  
19 you can sell it to me versus building and operating your  
20 own plant is more than an order of magnitude difference in  
21 complexity.

22 The reality is building large scale, even pilot  
23 scale, I think there's a high degree of complexity. But,  
24 you know, building renewable fuel production facilities is  
25 complex and difficult. And so the experience is critical.

1           The other is the experience to A, build the asset  
2 and B, it doesn't do much good if the asset gets built but  
3 the team can't operate it and you can't succeed in the  
4 marketplace.

5           And so having the ability or the experience in  
6 the team -- in our case we had already been in the market  
7 for multiple years, we were already producing 10 million  
8 gallons a year, so we knew kind of what it takes to market  
9 large volumes of biodiesel. We didn't have another  
10 chicken-and-egg problem that says, "We'll build a plant and  
11 the customers will come," and we've kind of got this  
12 loosey-goosey marketing plan and off we go. We kind of  
13 knew exactly how we were going to market those gallons, who  
14 our customers would be. Even though in the case of  
15 biodiesel and I think most transportation fuels, those  
16 markets don't lend themselves to multiyear, you know, rock  
17 solid offtake agreements with pricing, etcetera, all locked  
18 down.

19           And the other thing I think is, is the ability to  
20 manage market risk and fluctuation. I know in the case of  
21 biodiesel and ethanol these are a commodity -- essentially  
22 tied to commodity industries, commodity inputs. We have  
23 energy market price risk. We have a renewable credit price  
24 risk around RINS and LCFS. And we have price risk on the  
25 commodity input side. So it's a volatile business.

1           And the team needs to ideally demonstrate a plan  
2 or a strong prior experience in managing those types of  
3 market risks.

4           For our expansion project we actually -- some of  
5 it we designed ourselves. And, in each case, we're kind of  
6 managing construction as our own general contractor, if you  
7 will. But we did partner with another company for some of  
8 the equipment and technology we're putting in. And that  
9 partner had a very strong track record building large-scale  
10 biodiesel projects. They've done something like 35 over  
11 the last 25 years. So having a strong partner certainly  
12 helps if you aren't using your own technology. If you're  
13 using your own technology, it's that prior experience.

14           And the one thing I would say -- and this is more  
15 common for any of you project developers in the room -- is  
16 I can't stress the importance of doing proper engineering  
17 up front. You know, trying to do things like, "Oh, you  
18 know, we'll just field route that's piping," is typically a  
19 recipe for certainly cost overruns, time delays. Just  
20 really solid engineering up front will save you a lot of  
21 time and money and aggravation down the road.

22           And I think in the context of, you know, looking  
23 at and evaluating project applications, you know, Bill  
24 Kinney and his team have a tall order in front of them.  
25 But these are all some of the elements I know they already

1 look at that I think are obviously critical in whether a  
2 project's going to be successful.

3           So I said some of this already that, you know,  
4 building these kinds of projects is very complex and  
5 difficult. And that once you build the asset and it  
6 actually works, hopefully, as designed, you've got to be  
7 able to operate it in a volatile market business  
8 environment.

9           I think, you know, in the context of ARFVTP the  
10 CEC may evaluate project applications is essentially in the  
11 role of an early stage to mid stage venture capitalist, or  
12 in the case of our project where we're seeking capital to  
13 expand the plant, essentially, a private equity shop. And  
14 so I think, obviously, the vetting process is critical.

15           And I say here perhaps this is -- you know, it  
16 starts and ends there. Because if you don't vet and look  
17 at all the things I've described earlier you're not likely  
18 to have a successful project. And just keep in mind,  
19 success is building it, the thing's going to work as  
20 claimed and advertised, and be able to operate it as an  
21 ongoing business. Because it doesn't really do taxpayers  
22 any good, it doesn't do the State of California any good,  
23 if it's not what the CEC is looking for, to have assets  
24 built and then not run after a year or two.

25           I think key to that vetting process is, "Show me

1 the money." You got to have the money. I think the  
2 chicken-and-egg thing is -- you know, I get it. I've been  
3 an early stage technology guy before and I've raised  
4 millions of dollars in Silicon Valley. And I know how hard  
5 that is for project developers. And there's a notion here  
6 that the CEC can help sort of bridge the gap and provide  
7 seed funding or that the grant, in and of itself, is what's  
8 going to attract the funding.

9 But I think the pitfall of that is that it leads  
10 you down this rat hole where projects get awarded. It ties  
11 up a bucket of millions of dollars, and the project  
12 developer can't get the funding for one reason or another.  
13 Maybe because the private capital markets have said, "These  
14 guys don't know what they're doing," or they don't like the  
15 market risk -- a variety of reasons. And then that money  
16 is essentially tied up and wasted, right? Because it could  
17 have gone to another project that would have gotten  
18 executed, because it had the capital already.

19 We weren't asked to "show the money" so to speak.  
20 You know, our match was pretty much cash from our balance  
21 sheet. We have a strong parent company, so we have an  
22 internal borrowing facility that we actually leveraged for  
23 this project. And we were counting on that for the  
24 20-percent cost overrun that I had budgeted for.

25 And the way the program works too, you have to

1 kind keep in mind, is that you don't get the money up  
2 front, right? You've got to have the capital to pay your  
3 invoices, buy your equipment, and go through a  
4 reimbursement process. And that process takes, if  
5 everything goes well and your documentation is really good  
6 -- I mean, your best case is six weeks from when you  
7 submit. But, in reality, from when you get the invoices to  
8 when you submit and get all your ducks in a row that takes  
9 about three or four weeks.

10 I mean, I'm not complaining. I understand the  
11 need for the strong recordkeeping and you need the audit  
12 trails and track all the hours of internally allocated  
13 resources etcetera, but that's just the reality of it,  
14 right? So you need to be prepared for that. And if things  
15 kind of get dragged out at CEC it might be ten weeks from  
16 submittal until when you get paid. So you got to float,  
17 essentially, that difference, which means you got to have  
18 the money up front.

19 What else is there that I hadn't already touched  
20 on?

21 Construction risk. You know, I think a lot of  
22 projects depend on an external technology provider, you  
23 know, construction manager. It's important to really vet  
24 that. Larger projects tend to -- you know, the right type  
25 of technology or EPC partner you can get a performance

1 bond. We obtained that from the partner we selected. And  
2 what that performance bond means is that, if they don't  
3 deliver or the equipment and the design doesn't perform in  
4 accordance with the contract specs, you can collect on that  
5 bond. And it's a little bit of insurance.

6 And, essentially it puts the other guy in a  
7 position of having some skin in the game, right? And if  
8 they don't have a big enough balance sheet to provide that  
9 performance bond and they don't have the prior experience,  
10 that also tells you something about their ability to  
11 execute. They don't have -- in order to get these bonds,  
12 typically that company will need a track record of  
13 execution.

14 I think one of the things for the CEC to consider  
15 is, you know, Bill talked about some of the staff  
16 constraints and, you know, the reality is, is that the CEC  
17 isn't staffed with a bunch of people who come out of the  
18 renewable fuels industry or even come out of, you know,  
19 regular, say, oil and gas, or other types of related  
20 industries necessarily.

21 And we've talked about kind of all the moving  
22 parts both to looking at the technology. Is the technology  
23 valid? Can it deliver? Can the team execute? Do they  
24 have the experience? Can the team run the thing  
25 successfully and not go out of business once this thing



1 gets built?

2           And so perhaps finding a way to incorporate peer  
3 review would be of benefit to the CEC. I think it's one  
4 thing to have -- you know, take the process design that we  
5 submitted, which when we submit it, when most companies  
6 submit it, it's not super detailed. Partly it's because  
7 everything you submit is in the public domain and so  
8 companies are certainly reticent to give away their secret  
9 sauce. So you're going to submit a relatively simple block  
10 flow diagram, a simplified process flow diagram. And CEC  
11 will take that and maybe send it to someone like NREL and  
12 say, "Does this pass the smell test?"

13           Well, that's kind of a 30-foot-thousand view.  
14 And you have a lot of, I think, technologies and process  
15 designs that look like they ought to work, but it's a huge  
16 leap from that to something that actually will work. Even  
17 in our case, we weren't using some never before done, you  
18 know, new mousetrap. We're using, essentially,  
19 established, proven production process technology methods  
20 in the case of biodiesel, but there's still a lot of ways  
21 to get it wrong. And so being able to do a deeper dive on  
22 the technology is one thing.

23           The other is looking at the people on the team.  
24 It's a surprisingly small world out there. And if a little  
25 more digging and getting the kind of industry peer review

1 and asking around a bit more, I think can really help vet  
2 the team.

3           You know, assessing the business plan and  
4 long-term market and business viability. I mean, I could  
5 look at an application and simply say, did they at least do  
6 a, you know, two-dimensional Excel table function to run  
7 some, what we call "scenario analysis" or "sensitivity  
8 analysis" and say, how do the projected cash flows and  
9 earnings change as a function of changes in raw material  
10 inputs and sales price, outputs?

11           And, in reality, in the context of a gasoline or  
12 diesel substitute the revenue side is a three-dimensional  
13 beast. You've got the price of the fuel tied to either  
14 petroleum-based gasoline or diesel, you've got federal  
15 RINS, and you got all CFS credits.

16           So to be able to be really -- you know, as the  
17 team model it there are some things that only people who  
18 have been in the industry or very similar industries, I  
19 think, would have a deep enough understanding to answer  
20 some of that.

21           You need to be sure that the project survives  
22 long term. I've talked a bit about that.

23           I think one of the things -- some of you were at  
24 the meeting yesterday at UC Davis. Tim asked the question,  
25 you know, "How do you kind of foster the growth of the

1 biofuels industry in California and get more  
2 commercial-scaled projects going when you can't do  
3 long-term offtakes?"

4 I mean, the forward market, in general, just for  
5 petroleum-based fuels gets pretty skinny after one year. I  
6 mean, if I wanted to go out and do a five-year swap on  
7 petroleum diesel fuel it's going to be an over-the-counter  
8 trade. That has certain regulatory requirements now, post  
9 Dodd-Frank. You will need to have a balance sheet that  
10 will support that trade, because I can guarantee you  
11 Morgan Stanley or Goldman Sachs aren't going to do that  
12 trade with me if I'm a startup company with no money in the  
13 bank.

14 So that's a little bit of a tricky thing. So if  
15 you can't have rock solid long-term offtakes that cover it,  
16 those three elements of pricing -- the petroleum base price  
17 risk, the RIN price risk, and the LCFS price risk -- then,  
18 by definition it means the team better be prepared to deal  
19 with market volatility in those three elements.

20 You know, I know the CEC has heard a lot about  
21 metrics in the context of how to allocate dollars within  
22 the ARFVTP -- or TVP. I think that's part of it and using  
23 those same metrics to help evaluate projects based on  
24 projects that have been successful and say, "What are the  
25 metrics for those projects?"

1 Well, there's the obvious metrics around  
2 production, etcetera. It's those are quantifiable metrics  
3 and certainly useful in looking at, you know, carbon  
4 reduction etcetera, to allocate dollars when you think of  
5 this pool of money as building a portfolio of assets that  
6 ideally achieves the desired result, but also trying to  
7 come up with metrics in evaluating specific projects.

8 I'm not going to restate all this. This is just  
9 kind of your standard summary slide. That is the last one.  
10 I'm going to go to the very last couple of bullets.

11 You know, I've tried to look at this from the  
12 prospective of a taxpayer. And from the perspective of  
13 saying, as a whole, California's got these policy  
14 objectives: petroleum reduction, carbon reduction. And I  
15 think now a growing impetus, certainly within the  
16 legislature, to see the benefits, the economic benefits, of  
17 these carbon reduction policies.

18 California could have LCFS and have every drop of  
19 fuel come from outside of California. In that scenario,  
20 California realizes zero economic benefit. There's  
21 billions of dollars of potential economic benefit that can  
22 stay here in California tied to these policies. So how do  
23 you achieve the policy goals? Is the current ARFVTP the  
24 best way to do that?

25 I talked a little bit about this yesterday. I

1 think for those of you that weren't there, there is  
2 definitely a gap in the marketplace that -- when I think of  
3 the CEC I tend to think this isn't so much about ARFVTP,  
4 but the State as a whole needs to do a better job of kind  
5 of coming together and saying this is what we want to  
6 achieve. This is the pool of money.

7           And you've got these sorts of silos, these  
8 islands. You know, CEC with their pot of money, CARB. In  
9 a perfect world that would be better coordinated. But  
10 there's no doubt that regardless of whether it's ARFVTP or  
11 some other pile of money, there is a gap that the private  
12 sector isn't prepared to take on very well.

13           Early stage venture capitalists, yes if you have  
14 a very disruptive technology they do certainly make some  
15 investments, but that's cyclical and that kind of goes with  
16 what's in fashion.

17           You know, back in '06, '07, a lot of venture  
18 capital dollars piled into what's called "clean tech" --  
19 all different types of renewable energy technologies. And  
20 that spigot sort of turned off after the bubble burst in --  
21 the Lehman bubble burst in '09. And it hasn't really  
22 bounced back in a significant way.

23           And so there's a gap in, I would say, R&D and  
24 kind of taking a project from R&D to pilot that the State  
25 perhaps can play a strong role in that for those types of

1 projects. And in that case inevitably they're picking and  
2 choosing technologies or trying to build a portfolio of  
3 technologies with a clear understanding that hey most of  
4 this stuff -- as an early stage venture capitalist I have a  
5 lot of friends who kind of live and work in that world.  
6 You know, they're hoping for out of ten projects one single  
7 and one home run and eight complete failures.

8           And so it's the same, I think, mindset that the  
9 CEC -- in the context of this program with the State of  
10 California when looking at programs as a whole -- needs to  
11 take on and take this portfolio approach with that  
12 understanding.

13           I think for commercial scale projects -- and if  
14 you're -- if the goal now is to get a lot more commercial  
15 production that implies currently available technologies,  
16 proven technologies. I'm not sure, you know, even though  
17 we benefitted from this particular program and it worked in  
18 our case, on a broader basis, to get really significantly  
19 more scale going quicker I'm not sure this is the best way  
20 to do it.

21           I think a lot of folks might argue that the  
22 private market would do a better job in sort of allocating  
23 capital if they see their way to policy stability -- you  
24 know, long-term understanding where LCFS is and ideally  
25 where RFS is on the federal side. But also understanding,

1 if you have regulatory policy, do the numbers play out?  
2 You need five to seven years to get the payback. And  
3 that's where perhaps if the State thinks of return on  
4 investment, putting dollars to work that is on a  
5 performance based incentive would achieve the state's goals  
6 more efficiently and faster.

7           So performance based incentives like tied to  
8 actual production of fuel and carbon reduction and,  
9 perhaps, you know, where that fuel gets produced in terms  
10 of trying to stimulate economic activity in disadvantaged  
11 areas. Those kinds of things, ultimately means the State's  
12 only paying for what it gets. It doesn't have to tie up  
13 capital in projects that never get built for one reason or  
14 another and spend a lot of time trying to vet individual  
15 projects.

16           So food for thought. Thank you for your time.

17           MR. OLSON: So Commissioner Scott, what I'd like  
18 to do is introduce the reviewers. And then turn it back  
19 over to you provide any guidance on the questions for them.

20           And the reviewers are sitting on the other side  
21 of the room there. I would like to introduce each one of  
22 them and then we'll go into their comments.

23           So Corinne Drennan is from -- she's a Laboratory  
24 Relationship Manager working with U.S. DOE Bioenergy  
25 Office. She works for the Pacific Northwest National

1 Laboratory and her expertise is in chemical and biological  
2 process development related to conversion of biomass and  
3 waste systems to liquid fuels.

4           Sitting next to her is Steve Kaffka who is the  
5 Director of the California Biomass Collaborative and Co-  
6 Director of the Center for Renewable Energy Technologies at  
7 UC Davis. And his background, he's an agronomist. He's  
8 got the significant background. If you heard him  
9 yesterday, he had some pretty good information about the  
10 feedstocks, both purpose grown crops and waste grain.

11           And sitting next to him is Sam Wade who is the  
12 Branch Chief of the Transportation Fuels Branch of the  
13 California Air Resources Board. He's been involved with  
14 the implementation of AB 32 Scoping Plan and currently the  
15 Manager Oversight of the Low Carbon Fuel Standard.

16           And sitting next to him is Mr. Clark Williams who  
17 is an Environmental Manager with the Products Stewardship  
18 and Innovative Technology Section of CalRecycle. And he's  
19 been heavily involved in AB 32 Scoping Plan and then  
20 implementation of a pretty significant law in California  
21 that 75 percent recycling diversion goal, all the waste  
22 from landfills.

23           So, Commissioner Scott, would you like to then  
24 provide the guidance on the comments?

25           COMMISSIONER SCOTT: Sure.



1           So I think we're actually really looking for the  
2 same kind of set of questions that we asked each of our  
3 presenters to present on. So as you went through and had a  
4 chance to review the projects in some detail, what are the  
5 things that you saw as part of those projects that were  
6 successes that we ought to know about and keep an eye on  
7 and carry forward?

8           What were the things that you saw as you reviewed  
9 those projects that were barriers that we ought to continue  
10 to think about how to solve and overcome?

11           And then similarly on the lessons learned are  
12 there tidbits or pieces of information, helpful information  
13 that are things that we can carry forward and be sharing  
14 with other project developers as we go forward to continue  
15 to make these projects successful?

16           And I think Harry touched on it quite a bit,  
17 because we're not just trying to fund projects. We're  
18 trying to fund projects that get built and deliver what  
19 they said and get the fuels into the California market,  
20 right? So that the goal is not just to get money out the  
21 door; the goal is to get money out the door that really  
22 have a great potential for being successful.

23           So that's what I would like to talk to you about.  
24 I want to do just a quick time check, because we're a  
25 little bit behind. We have about, I think, 40 minutes for

1 each of the projects to have a good discussion. So I think  
2 we should talk about this, but I don't want to cut off any  
3 of your thoughts here. And then what we'll try to do is  
4 maybe have the presentations be about 20, 25 of those  
5 minutes, so that we have 15, 20 minutes to hear from each  
6 of the reviewers on each of those, if that works for you  
7 all.

8 But let me turn to the reviewers and get your  
9 thoughts on the Crimson Renewable Project. And we can  
10 either go down the row, or if you just want to jump in --  
11 it's up to you all.

12 MR. KAFFKA: You're the judge.

13 COMMISSIONER SCOTT: Okay. Why don't we run down  
14 the row? Should we start with Corinne?

15 MS. DRENNAN: Thank you so much for sharing all  
16 of the experience that you have in developing and managing  
17 projects. That was -- it's really fascinating and I think  
18 very helpful, as Commissioner Scott mentioned.

19 I have a couple of questions; and they're a  
20 little bit long and technical, so I'm sorry.

21 So the numbers that were in the review package  
22 for the water intensity of the Crimson Plant seem awfully  
23 low to me compared to -- say let's take ethanol as an  
24 example or petroleum fuels. So I was wondering how the  
25 water intensity compares to similar technologies and how

1 you are setting your targets.

2 MR. SIMPSON: I mean, to be honest, we're not --  
3 I'm not very familiar with how much water is used in other  
4 types of renewable fuel technology. In the case of  
5 biodiesel I mean, there are some biodiesel across this  
6 technology options that use virtually no water other than  
7 the water that's necessary for cooling tower water and  
8 cooling blowdown.

9 In our case we have that, plus we use water to,  
10 essentially wash the biodiesel. So what we looked at was  
11 really reducing the amount of water that we are going to  
12 use to wash the biodiesel with this new system compared to  
13 what we do currently. That's kind of the final phase of  
14 the project we're putting in.

15 The gains that we've seen in water utilization,  
16 so far have to do with a more efficient steam system. So  
17 that we are getting more gallons out for the steam plant  
18 that we have and by virtue of that, you know, we're using  
19 less blowdown water than we would have in the past.

20 MS. DRENNAN: Excellent. Okay.

21 So the performance bond, I'm very curious about  
22 how that works. So there's a parent company that you could  
23 pull from, but what were the technical performance barriers  
24 that you faced and how did you overcome those?

25 MR. SIMPSON: So a performance bond is actually

1 not provided by us or our parent company, it's provided --  
2 so part of our project we designed, built, constructed all  
3 by ourselves. There's another part of our project, it's  
4 the final phase, where the equipment and the engineering  
5 was done as a package by another company --

6 MS. DRENNAN: Okay.

7 MR. SIMPSON: -- out of Europe. And we will  
8 manage the construction with their involvement.

9 And so you clearly lay out -- and there's a lot  
10 of negotiation that goes back and forth as to what this  
11 thing is supposed to deliver.

12 And, of course, for the technology and equipment  
13 provider they're very much, "Well, we'll deliver this if  
14 you put exactly this into the system." So you have to  
15 negotiate the input, output specs.

16 And then once that's worked out, what the  
17 performance bonds means is, so they provide essentially --  
18 there's a couple of different ways to do it. Sometimes on  
19 very big projects there's essentially reinsurance firms  
20 that do it. But in our case we used a letter of credit.  
21 So they posted a letter of credit that allows us to draw on  
22 it. So it ties up for them -- in our case you'll never  
23 find a provider who is really going to guarantee you a  
24 performance bond that includes opportunity costs and lost  
25 profits and that sort of thing. They are typically only

1     guaranteeing the cost of the contract.

2             MS. DRENNAN:    Yeah.

3             MR. SIMPSON:    Right?  And the performance bond  
4     says if it doesn't work and they don't fix it and get it to  
5     work within a certain time, we get to collect that money.

6             MS. DRENNAN:    Interesting.

7             Okay.  So I only had one more question for you.  
8     Given all the wealth of experience that you have both in  
9     design and project management and getting things going,  
10    what would your appetite be for newer technologies?

11            MR. SIMPSON:    Not high.

12            (Laughter.)

13            MR. SIMPSON:    I am not interested.  You know,  
14    we're looking at some of the projects now.  We're not  
15    really interested in being the first commercial scale plant  
16    for any given technology.  I'm a little less disinterested  
17    to be the second.  But I would prefer, much prefer, to  
18    see -- as a matter of fact not prefer, I insist on seeing  
19    commercial scale operating data going back at least a year  
20    or two for a couple of projects before we're going to --

21            MS. DRENNAN:    Interesting.

22            MR. SIMPSON:    -- go out and spend money.

23            MS. DRENNAN:    Thank you.

24            COMMISSIONER SCOTT:  Great.

25            Steve?

1           MR. KAFFKA: Very nice and thoughtful  
2 presentation, Harry.

3           It seems like the project is on time in its  
4 objectives and it's going to achieve the scale that you  
5 talked about based on the materials that you've said in  
6 your presentation. So I'm not so concerned about that.

7           One of the interesting things about current  
8 biodiesel themed systems is they're using residual  
9 resources from mostly -- there's competition for such  
10 resources, increasing diverse uses for such resources, and  
11 so on. Also your proposal and your comments to look to the  
12 use of residual corn oil, and corn -- grain ethanol based  
13 systems, which is increasingly available. But also, again,  
14 may have alternative uses as an animal feed and so on.

15           So my question is, is what do you foresee as  
16 your -- obviously, you think you can secure your feedstocks  
17 at prices reasonable enough to provide fuel in a  
18 competitive manner. Can you talk a little bit about that?  
19 I mean, you talked about forward -- I mean, it seems like  
20 you've invested this money under the assumption that you  
21 can do that.

22           MR. SIMPSON: This was one of the hardest things  
23 for us as a company getting involved in this business, you  
24 know, in a plant tied to those types of raw materials,  
25 because we had to go into it knowing that there was no way

1 short of owning your own ethanol plant or buying a company  
2 that is collecting all that used cooking oil or animal fat  
3 and getting them to render -- it's called "rendering" or  
4 "renderers" -- and getting in that business. We couldn't  
5 control it just in terms of pricing and availability. And  
6 the market for those commodities are very much next month  
7 kind of markets. Corn oil, a little bit better, you can go  
8 out three -- we've looked at some six-month structures, but  
9 not much more beyond that. So you have that.

10           You know, earlier I talked about managing price  
11 risk. I mean, at the end of the day you're competing  
12 against those other uses. And pricing is going to  
13 determine who gets what. And so will your business allow  
14 you to pay up and -- but, I mean, everyone else is in the  
15 same boat, right? No one else -- I mean, there's a handful  
16 of folks that might truly control their own raw material in  
17 the biodiesel industry, but the vast majority don't.

18           Yeah, the integrated agri-business concerns like  
19 ADM and Cargill, you know, Louie Dreyfus, they own the  
20 soybeans. They buy them from the farmer, they crush it, so  
21 they've got the oil. In fact, the problem is they have too  
22 much oil. They're trying to prop up the price and biofuels  
23 has been a great outlet for them.

24           So there's -- I mean, in a perfect world, you  
25 know, I'd love to see on a very large scale -- and Steve

1 you and I talked about this back in '07, '08 -- in looking  
2 at purpose-grown crops here in California. And there was  
3 an opportunity then and there's still a big opportunity  
4 now.

5           Particularly given the drought, because some of  
6 these alternatives like Hannalina (phonetic) or even just  
7 regular canola are much more water efficient and some of it  
8 could be dry planted on the west slope. And I would love  
9 to do a deal with a group of farmers where they could  
10 commit 150,000 acres to me and go out and plant that crop.

11           But the flip side to that, in all honesty, is I  
12 would need them to be able to backstop that commitment.  
13 And/or you would need crop insurance, because if the crop  
14 isn't there where am I going to go get my feedstock? I've  
15 relied on these guys, and now I got to go out in the open  
16 market. And who is going to pay the difference and all  
17 that?

18           But, yeah feedstock security, in the long run, is  
19 difficult for most folks in the biodiesel industry.

20           MR. KAFFKA: Thank you.

21           We need to talk some more about the feedstock  
22 crops. I've done a lot of work on that recently.

23           MR. SIMPSON: I look forward to it.

24           MR. KAFFKA: The second point is more of a  
25 profound one, philosophical one, really, about how the



1 State should invest its resources. As you know, I'm an  
2 Advisory Committee member for the AB 118 Program as well.

3 And so, if I understand your argument you're  
4 really making a conservative argument about the State  
5 restricting its investments in more certain kinds of  
6 pathways. And there's been this discussion within the AB  
7 118 program, how much risk to take, how much to be a  
8 technology stimulator?

9 And there are a certain amount of risks that are  
10 simply unavoidable if you are more out on one end in terms  
11 of new technology in business than if you are investing in  
12 traditional technologies backed up by companies with, as  
13 you say, robust balance sheets, which means basically  
14 current players.

15 So it's an important question to be resolved.  
16 Perhaps there should be a more explicitly venture capital  
17 type fund that the Energy Commission sets up for those  
18 kinds of riskier investments. It's a little bit more  
19 flexibility in how those funds are actually spent and so on  
20 compared to a separate set, which group -- based on metrics  
21 for performance which provide more security to the  
22 Commission.

23 But it seems to me that you need to think about  
24 AB 118, is this -- so far, it's been the government's  
25 willingness to invest in kind of uncertain things. So I'd

1 like your comment on that.

2 MR. SIMPSON: I mean, I said earlier -- I agree  
3 with you that there is this gap in the private capital  
4 market where it's very difficult to get funding for R&D  
5 and, you know, things that are at the pilot stage, to get  
6 them going. And there's a role, I think, that could be  
7 played by the State.

8 I think there's ways to do it though that  
9 perhaps -- now I talked about having the matching funds.  
10 And you shouldn't count working capital type stuff as part  
11 of matching funds. I mean, it could be you have a term  
12 sheet from a venture capital firm that will co-invest with  
13 the state contingent upon being awarded the grant. So I  
14 think there's ways that maybe -- I would agree a separate  
15 venture capital fund with very specific -- with a notion  
16 that it's going to spread its bets across a portfolio of  
17 technologies. And the State being fully prepared that, you  
18 know, more than half of them will fail and you're looking  
19 for a couple of home runs. And I think that does make  
20 sense.

21 I think in the context of the AB 118 monies it  
22 was a pool of money that tries to get allocated out to  
23 achieve kind of a higher level of goals. Namely, get  
24 renewable fuels into the marketplace at the lowest possible  
25 carbon intensity. I would say that sums it up.

1           And there's been in the investment community  
2 there's all sorts of discussions of how much should go into  
3 electric and hydrogen and biofuels, etcetera. And we've  
4 made arguments, people have made arguments, "Well, you  
5 know, if you look at the metrics it always comes from  
6 this." And I get the need to spread the dollars to sort of  
7 foster new and up-and-coming things.

8           But I think that's part of the problem with AB  
9 118 monies is that it's too broadly defined to be  
10 implemented effectively. Because the team that is going to  
11 look at -- and how you would craft the criteria in looking  
12 at very early stage more R&D or pilot scaled-type projects  
13 is very different than how you look at and the type of  
14 expertise involved in looking at a more mature plant  
15 expansion project like mine for example. Or a new  
16 biodiesel plant that is using more or less current or  
17 next-gen technologies that have had a couple built already.

18           And so that's where I say I think using  
19 performance based incentive to really -- with an eye  
20 towards that's how you focus on investing dollars to foster  
21 more commercialization. Mature -- the actual deployment  
22 and rollout of more mature proven technologies would make  
23 better sense than trying to pay projects to award for  
24 construction spending.

25           And I think the other thing is where role has not

1 been -- in yesterday's meeting that many of you were at  
2 there was a discussion with market access. So in the  
3 context of ethanol guys' market access is E15 blending and  
4 some other things. In the context of maybe DME and  
5 somewhat true for biodiesel, it's fueling infrastructure,  
6 but more at the super wholesale level, at the rack right at  
7 the end of the pipeline where all the fuel is basically  
8 sold and put into those big semi-trucks to go to fueling  
9 stations or to fleets or gas stations, etcetera.

10 And I made the comment yesterday, I'll make it  
11 again, I mean, that's where the state could have spent  
12 money with an eye towards stimulating the build out of  
13 those infrastructure investments in a way that would have  
14 made the ongoing cost, which is really a big issue in terms  
15 of market access, more manageable.

16 So, in the absence of that, Kinder Morgan goes  
17 out and says, "Hey, we're spending \$4 million a terminal,  
18 we don't do anything if we don't get a 16 percent ROR and  
19 we have a two-year pay back.

20 Well, Kinder Morgan is charging 18 cents a  
21 gallon, okay, to blend biodiesel here in California at  
22 every Kinder Morgan terminal that has -- there's three of  
23 them that have that investment. And 18 cents a gallon is a  
24 crap ton of money for a biofuel producer. Because guess  
25 who pays for that? Me. Me and every other producer pays

1 for that. Because the customer, be it Chevron, a truck  
2 stop, or a fuel distributor, is not going to pay it, right?

3 So if -- this would have been a great opportunity  
4 for AB 118 monies to go to Kinder Morgan and say, "Kinder  
5 Morgan, we will pay for \$2 million of it and you pay \$2  
6 million, but your return on capital of \$2 million is  
7 capped. It's defined, it's a cost-plus model," and that  
8 blending fee would be down to about 2 cents a gallon.

9 COMMISSIONER SCOTT: Let's make sure we have time  
10 to hear from both Sam and Clark and then we'll go to the  
11 next presentation.

12 MR. WADE: And thanks a lot, Harry, for your  
13 presentation. Very interesting.

14 I'm wanted to focus on sort of CI performance.  
15 It sounds like at the outset of the project there was  
16 consideration of further CI improvements through all the  
17 feedstocks and some of that didn't materialize. Can you  
18 talk a little bit more about why that happened and how that  
19 would relate to your goal of having more of a performance  
20 based program?

21 MR. SIMPSON: Well, part of that -- I meant, it  
22 hasn't -- I should said it hasn't fully materialized yet.  
23 I mean, the goal for us was to enable us to use more corn  
24 oil than we could in the past.

25 And there's a rationale to do that based on LCFS

1 pricing, because corn oil from dry mill, dried as -- still  
2 as green plants, has a forced CI that's the lowest  
3 available out there. The next best thing is about a 12  
4 from used cooking oil used in California if it's not  
5 cooked.

6 And so we would like to use more corn oil, but  
7 most of the year -- and so there's two reasons. One is  
8 that we haven't finished the work that in the last part of  
9 the project is what we needed to run more corn oil. Some  
10 of what we have done has certainly helped.

11 But the price of LCFS credits wasn't high enough  
12 most of the year to push us towards corn oil, because corn  
13 oil is always more expensive than used cooking oil. So  
14 LCFS credits need to be at a certain point where it more  
15 than offsets that cost difference, right? So if LCFS  
16 credits had been at 65 the first half of the year we would  
17 have used more corn oil and our CI would have been lower.

18 MR. WADE: Okay. What about -- I believe the  
19 application contained a discussion of brown grease and  
20 olive oil, soy oil, things like that. Did you guys go far  
21 down -- as far as those feedstocks and what stopped you  
22 from going all the way?

23 MR. SIMPSON: Well a, there's no (indiscernible)  
24 oil out there in any commercial scales. You know, brown  
25 grease is something we've looked at. What we -- I think

1 everything that we're doing will ultimately be part of  
2 solving that particular -- cracking that nut. But there's  
3 some things that we -- there's additional systems we would  
4 need to put in to run brown grease. And you can think of  
5 it as, you know, what we've done was sort of a down payment  
6 on that.

7 MR. WADE: Okay. Can I ask you about the peer  
8 review concept that you put forward? As you sort of said,  
9 it's a small world, right? So how would you balance the  
10 need to maintain confidentiality with having a robust  
11 discussion with the industry or the other folks in the  
12 industry and say, "Are these guys for real," right? It  
13 seems like there's a tension there.

14 MR. SIMPSON: Yeah. You know, I think that  
15 certainly there's no issues -- I wouldn't think there would  
16 be issues around confidentiality just in terms of looking  
17 at the team. And for the most part everything -- my  
18 understanding was, when we submitted our application it was  
19 with the understanding that everything we submitted was in  
20 the public domain, so financial models, etcetera.

21 And so all that, you should have a  
22 confidentiality from handing it over a peer review group to  
23 look that over, look over who the individuals are, look  
24 over who the technology partner is, and look over the  
25 financials, and see what they've done. If nothing else

1 what you'll hear is, "Hey, there's not enough information  
2 here on the financials. There's no sensitivity analysis."

3 So I don't think that -- and, I mean, as far as  
4 the technology review goes same thing. Most people aren't  
5 submitting full-blown P&IDs and, you know, in full drawing  
6 package. Because everything they give you -- and I think  
7 that's part of the problem frankly, is you need to be able to  
8 get more information without A, making -- with the  
9 understanding that it won't be publicly available.

10 But then yes it gets tricky to how to you put it  
11 with technology and let someone else who is in the space  
12 review it?

13 MR. WADE: Great. And I heard that tension in  
14 what you offer. So I think that's an important question to  
15 try and resolve when you go to a higher level of detail.

16 Okay. So the last thing I would ask, I guess, is  
17 you mentioned policy certainty and certainly the LCFS is  
18 attempting to provide more certainty, you know, through the  
19 re-adoption of the program that is occurring next week  
20 hopefully. I knock on wood.

21 And, you know, the long-term planning that's  
22 going to happen in the AB 32 scoping plan process will, you  
23 know, help us determine what the target should be post  
24 2020.

25 How early do you feel like it's helpful to have



1 those established, right? I mean, it sounds like, you  
2 know, the overall timing around the return on some of these  
3 projects actually needs to be pretty short in many cases.  
4 So when do you need that -- the policy certainty of new  
5 targets in the LCFS?

6 MR. SIMPSON: As soon as possible.

7 (Laughter.)

8 MR. SIMPSON: It's not even clear right now. And  
9 I've ask the R&D staff whether they are willing to say  
10 that -- you know, privately, they may say, "Well, we'd like  
11 to bump the targets up." And there'll be a whole long  
12 drawn-out process to try to make that happen, and I get  
13 that.

14 But, you know, there's not even an understanding  
15 that LCFS will remain at the 10 -- so assuming they pass  
16 the 10-percent reduction in 2020, is it locked in statute  
17 that that's going to be the case for -- that it will be no  
18 worse than a 10 percent reduction for '20 to '30?

19 MR. WADE: Right. So the current reg actually  
20 does continue post 2020 at the 10 percent level. And we  
21 believe we have the authority to go past the end of that  
22 period. And so I think those discussions will kick off  
23 shortly here, and the first Scoping Plan Workshop is  
24 actually on October 1st. So we're getting ready to begin  
25 that conversation.

1           MR. SIMPSON: Yeah, I think the quicker that can  
2 happen, the better.

3           COMMISSIONER SCOTT: Let's go to Clark.

4           MR. WILLIAMS: Thanks, Harry. I really enjoyed  
5 the presentation.

6           Primarily, like Corinne said, we're primarily  
7 interested in using waste-based feedstocks, (indiscernible)  
8 the landfilled. But I did want to follow up a little bit  
9 on your concept of performance payments.

10          And if we're talking about performance payments  
11 in reflecting kind of (indiscernible) commercial production  
12 to produce quantities of fuel, have you given thoughts to  
13 what might be a meaningful way to set those and adjust  
14 those over time?

15          And also what length of time you need those  
16 performance payments in place (indiscernible) filed?

17          MR. SIMPSON: Well, there's a group that has been  
18 formed kind of encompassing folks involved in alternative  
19 gasoline fuels, alternative diesel fuels, using biogas for  
20 transportation that has looked at this already. Loosely,  
21 it's called the "Biofuels Initiative." And in time the  
22 performance payment to gallons produced, the carbon score  
23 of those gallons, and where the gallons are produced.

24          In terms of a duration that those incentives need  
25 to be in place I think to really stimulate new capital

1 investment, you would want at least five years. Seven  
2 would be a little bit better. Ten would be awesome. But  
3 you need at least five.

4           You know, someone said yesterday, "Hey, let's  
5 just start something and throw it out there for six  
6 months." I mean, it would be great. There's a part of me  
7 that says yes to that and there's a part of me that says,  
8 "What's the real point of that?" But I think you need  
9 five-plus years.

10           MR. WILLIAMS: Thank you.

11           COMMISSIONER SCOTT: Great. Thank you so very  
12 much.

13           So I would like to go now to Susan Kennedy and  
14 Evan Edgar. And I'll let Tim give you a line or two of  
15 introduction.

16           I want to remind folks, if you'd like to make a  
17 comment, please be sure to fill out the blue cards, which  
18 are on the table back there, and give them to Tim.

19           Susan and Evan, I'm going to ask you all if you  
20 can make sure your presentations finish by about 10:45 or  
21 so, and then we'll give our panel till about 11:00, and  
22 then we'll kind of keep going that way to make sure we have  
23 a chance to really hear from all of us.

24           And remind folks that there is an opportunity to  
25 submit additional thoughts and comments to us into our

1 docket. We do read all of those documents, and so this  
2 won't be the only opportunity that you have to let us know  
3 what you're thinking.

4 MR. OLSON: So, Evan and Susan, if you could come  
5 up here that's probably the best way for you to do the  
6 presentation.

7 And I understand you're going to do a tag team.  
8 But Evan is part of the development team of Edgar and  
9 Associates for the Blue Line Project that the Energy  
10 Commission co-funded, and also City of Napa Project that is  
11 kind of in midstream.

12 And Susan is the Project Manager for the  
13 Scavenger Company -- I'm sorry, I got the wrong name -- for  
14 the South San Francisco Scavenger Company and a long  
15 history in the city, South San Francisco city government,  
16 including most recently Assistant to the City Manager.

17 So, Evan.

18 MR. EDGAR: And we are scavengers. We've been  
19 scavengers for a hundred years and that's why we're  
20 successful today. It's a local garbage man story.

21 We've been in the community throughout California  
22 for 50 to 100 years. And as part of that, we have built  
23 quite the system. Back in the '70s, when we created the  
24 Waste Board and they created the franchise system. And the  
25 franchise system is very important in order to have public

1 health and safety, environmental controls. So back in the  
2 '70s we had this great franchise system that allowed 10-to-  
3 20 year contracts.

4           And then in the '80s and '90s came AB 939  
5 recycling. And as far as recycling, we started building a  
6 recycling facility called MRFS. And we started getting  
7 financing through the California Public Control Financing  
8 Authority that allowed us, in order to start building  
9 facilities, with a balance sheet. Being multi-generational  
10 in the community we don't own the landfill, although we own  
11 the trust at local government in partnership to do things  
12 within the community.

13           And then about last year, or in the last decade,  
14 the truck-bus -- my brother, Sean Edgar, worked on it --  
15 whereby we had to get off diesel. And CARB came and said  
16 get off diesel -- heavy duty. So we did. We both CNG  
17 trucks and we went through a couple of generations and took  
18 that risk.

19           And once again we went back to the well of  
20 California Pollution Control Financing to get some more  
21 money, and they supplied it. So we were happy to be Heavy  
22 Duty Class 7 and Class 8, about 15,000 trucks in California  
23 that want to go from diesel to CNG and then to RNG as a  
24 (indiscernible) fuel from CNG.

25           So then in this decade we have organics,

1 greenhouse gas reduction. So we're going to the well for  
2 the third time to build facilities to co-locate. So within  
3 the community we've been there, done it, and we have the  
4 trust in order to keep on with the partnership. And we  
5 work with the Climate Action Plan.

6 Susan Kennedy will talk more about how we got  
7 involved with the Climate Action Plan with regards to CUP,  
8 Conditional Use Permit on land use where yesterday a lot of  
9 things came up about "we don't have feedstock control." We  
10 do. CEQA is your enemy. Well, CEQA is my friend, because  
11 we tie it to the Climate Action Plan. We're able to get  
12 permitted. We don't go macro; we go local. We're not too  
13 big to (indiscernible) We're local in the community.

14 So that's our story, and we have a strong project  
15 team because we took innovative risks on recycling, on CNG,  
16 and now we're doing anaerobic digestion and composting.

17 We saw this yesterday. And policies all do work  
18 together. I think they're integrated quite well. And at  
19 the state level they go down to the local level with  
20 Climate Action Plans. And these Climate Action Plans roll  
21 out in the community and we're involved with it.

22 But with anaerobic digestion what we're doing, we  
23 hit all five pillars. We're supported by five pillars in  
24 composting and anaerobic digestion, every part of it,  
25 because we want to have RNG. We can get our CNG trucks

1 with an RNG offtake agreement in order to get some of that  
2 Cap and Trade money, which carbon failed to produce this  
3 year.

4           Then we're part of RPS. We use the biomethane to  
5 run the facility and the boilers. Our facilities are LEED  
6 certified. Susan will talk about that.

7           We're getting organics out of the landfill  
8 (indiscernible), zero organics by 2025. And that's the  
9 Healthy Soils Initiatives. We've taken that digestate, the  
10 compost from anaerobic digestion and we're making compost,  
11 running clean compost. We put it back in the soils of  
12 California. So we sequester that carbon.

13           So we're all five pillars and we integrate those  
14 policies.

15           Yesterday, as part of our application, we did do  
16 a CI. We had something different. I think -- Rick Morrow  
17 couldn't be here today, my principal engineer. He came up  
18 with a minus 40 or 50 as a part of our grant application  
19 for Napa. And, right now, the default's minus 31.

20           I got this from a staff report from February 19th  
21 from CARB, and I kind of equalized it. But by default  
22 minus 31 is a good place to be. Right now, we're  
23 submitting our six-month final report to Hugh ((phonetic))  
24 with regards to where we're at with the data. We've been  
25 operational since January, so we have six months' worth of

1 data. And the CI's actually come in a lot lower. So we  
2 have to work with CARB staff on that model, because some of  
3 that modeling there has some numbers in there that puts us  
4 at very extremely low carbon. So those numbers are coming  
5 to you soon.

6 We are -- when I first picked up the project, I  
7 didn't know what to call it. We're your community-scaled  
8 distributed renewable transportation reductions facility.  
9 That's a nice way of saying distributed generation such as  
10 for electricity. This model is local. It's the same  
11 thing, but for transportation fuels for RNG.

12 When I drew up the grant proposals it was a kind  
13 of new concept. How can we go from this macroeconomics of  
14 oil pricing and crops? Well, we don't have to do that.  
15 We're local. And we don't have to be tied to a lot of  
16 different nationality when we keep everything within that  
17 sweet spot, at the community level, where we actually, with  
18 regards to the investment funds from the Greenhouse Gas  
19 Funds we do all five -- or all four.

20 We do the clean transportation, the clean energy,  
21 energy efficiency, we get waste out of landfill, and we put  
22 the carbon back into the natural resources, back into the  
23 soils of California. So we're right there.

24 And one thing that keeps on popping up is  
25 metrics. With AB 32 people want to know how much it really



1 was a benefit. What's the bang for the buck?

2           There's no studies on it. I had to go back to a  
3 Stanford study in '08 put out by Professor James Sweeney.  
4 And he did a Co2 supply curve and a marginal abatement cost  
5 study. So back in '08, we didn't have the metrics for  
6 covered compost and anaerobic digestion, but now we do.  
7 We've got some information.

8           So my team put together a cost curve and the  
9 marginal abatement cost is minus 50. We're up there with  
10 energy efficiency. Compost and AD is great. And I have  
11 letters to Larry Nichols. I've got a letter to CalRecycle.  
12 I've got letters to Matt Taylor. What's going on with cost  
13 effectiveness of AB 32, an investment plan that is being --  
14 for the next three years? I believe that AD is right there  
15 as one of the biggest bangs for the buck.

16           So how do you roll this out? How do you  
17 replicate this? Okay. This is important, because we're  
18 not going big. We're not going up with regards to having  
19 more gallons at the location. We're going across  
20 California with all the different cities and all the  
21 communities.

22           The City of L.A. just put out a great franchise  
23 agreement for their commercial waste. How do you go get to  
24 the commercial waste? And one of the things is they -- in  
25 this blueprint that came out in July 2015, it's about

1 guaranteed contracts for exclusive franchise. Right in  
2 this report you need to have an exclusive franchise to have  
3 the tenants build the facilities. It's a great win. Zero  
4 waste by 2025. We can do it.

5 Source separation. You need clean organics to  
6 make clean compost to put back into the soils for organic  
7 soil. So don't mix it all up with other garbage. So we  
8 have a Healthy Soils Initiative.

9 You have to have labor, a prevailing wage. When  
10 we did the CEC grant, the prevailing wage was important as  
11 was a safe work place.

12 And, of course, environmental quality. With the  
13 new engines coming out on NOx for the CNG trucks would be  
14 great, we have big bang for the buck, and we're reducing  
15 VMTs. By keeping things local, we're not importing diesel  
16 and exporting trash. We do neither now. We keep our fuel  
17 local; we keep our organic waste local. And we cut back on  
18 long-hauling trash to a dump -- or I mean the landfill.

19 With regards to AB 1826, we've got Dick Matheson  
20 and Patty Loke (phonetic) do a lot of good work with  
21 regards to working with a Caley Day (phonetic) and the  
22 Legislature on diverting organics out of the landfill.  
23 This is a phase-in collection approach that would guarantee  
24 our tons. By 2020 we're going to give out 8.1 million tons  
25 of commercial organics at a landfill, which is about

1 4.4 million metric tons of Co2 reduction. It's about 100  
2 facilities, about 1.5 billion. That's doable.

3 Our industry is ready to do that by taking our  
4 15,000 trucks that's on CNG but then has the RNG offtake  
5 agreement tied to it, you get the incremental cost by CARB  
6 in order to help fund that transition totally off diesel to  
7 CNG to have a differential.

8 Okay. CARB has another plan out for SB 605, a  
9 concept paper, Zero Organics by 2025. That would be a  
10 total of 14.8 million tons of commercial organics and  
11 residential and about 8 million tons of Co2 reduction.  
12 It's a great plan, and we're ready to do that.

13 In the project we have Kevin Miller. He's a  
14 Project Manager for the City of Napa. We've had a lot of  
15 good lessons learned with South San Francisco. You know,  
16 the 11,200 tons per year, we ramped it up to 25,000 tons  
17 per year, which is a sweet spot. We went from a fabricated  
18 metal at South San Francisco -- it was the first one built  
19 in America -- (indiscernible) boxes in order to go prefab  
20 concrete at Napa. But the cost per ton get's more on scale  
21 from 11,200 and we thank California Energy Commission for  
22 that \$2.6 million grant at South City.

23 And, like Harry, we had a cost overrun. We  
24 predicted the cost of the project would be 7.2 million. It  
25 went up to closer to 10 million. We had a lot of things

1 on it. More environment mitigation, we put some more  
2 stormwater runoff is a big thing nowadays. We had -- we're  
3 an upstart. We learned a lot. But it is working.

4 So by moving away from prefabricated metal and  
5 moving into cast-in-place concrete, we get better costing.

6 So what happens in South City for about 90 bucks  
7 to 100 bucks a ton tip fee we can do in Napa for about 60  
8 bucks a ton. That's a great, great model right there.  
9 That can be replicated through hundreds of communities  
10 statewide and 200 by the year 2025.

11 Now, why did we choose this? We had some huge  
12 barriers. We learned lessons along the way, is that we're  
13 not going to the pipeline, we're not going to the grid, we  
14 go to the tank. We go to our own tanks. We are our  
15 offtake agreement. We are our supply of feedstock.

16 I'm trying to -- I've been in the landfill  
17 business for 25 years and trying to do a pipeline landfill  
18 gas project -- Evans Williams is here, so he had a great  
19 story yesterday. I have bad stories. I won't do that. I  
20 keep things outside the pipeline, don't go to the grid.  
21 I'm trying to get interconnection. It slowed down all the  
22 biomass gasification projects with PG&E. We just can't --  
23 it is unbelievable. We try to do a project. When you go  
24 to the grid it takes 100 million bucks in a year and a  
25 half. It slows us down. We can't roll out SB 1122 in the

1 biomass gasification world

2           So in the AD world, you know, we have the tanks  
3 onsite. And we don't even go to the grid and try to get a  
4 permit for an ICE engine and it's tough. So a lot of  
5 landfill gas guys are trying to re-permit their engine and  
6 they won't be able to do it.

7           So there's no reason for us to go to the pipeline  
8 or the grid. We go to the tank, because we have a CNG  
9 fleet. We cannot develop RNG if we don't have a CNG fleet  
10 in place. So we learned a lot about that.

11           Okay. A couple of metrics, and I know the report  
12 will have more on that, but we had some questions yesterday  
13 that we didn't fully answer. But the biomass production is  
14 -- we're not up to 3,350 cubic feet per ton. You only get  
15 about 3,000. Because it's a blend we're don't have --  
16 we're not given that 67 percent food. The commercial food  
17 waste sector doesn't come online until April 1st, 2016,  
18 with AB 1826, so we're developing that more food ratio but  
19 we have a lot of green waste. So that as we get more  
20 commercial food we're going to get more biogas production.

21           We wanted to go 92 percent methane to RNG with a  
22 dual membrane for bio CNG. At the South San Francisco,  
23 we're only at 50 -- we predict a 56 percent. We're at  
24 55 percent now. So we're actually meeting the South San  
25 Francisco, and we're working with the City of Napa and bio

1 CNG and GOS Energy to get to that dual membrane to up the  
2 methane collection.

3 Our diesel gallon equivalent is about 330,000 per  
4 year. We hope to make that. If we roll out to 200  
5 facilities that's 66.6 million PGs per year. And it's  
6 carbon-negative fuel. Right now it's minus 31 by default.  
7 And our numbers -- it's amazing. So we don't have a  
8 carbon-negative fleet for that one truck that picks up  
9 organics. It fuels the recycling truck, what's left of the  
10 garbage trucks and then the construction demolition. So  
11 it's Back to the Future Part Two is now in 2015.

12 So this is a kind of amazing story, but we  
13 couldn't do it without the city. And Susan Kennedy is  
14 going to come up. But along the way, I went in front of  
15 the community on Action Plans, the partnership with the  
16 franchise, the land use, and the public partnership. What  
17 Susan is going to talk about for South City, the same thing  
18 with Kevin Miller with the City of Napa. These long-term  
19 relationships that we have with local government in all our  
20 communities can be replicated quite easily in order to roll  
21 out a carbon-negative fleet.

22 MS. KENNEDY: Thanks very much.

23 So can we replicate it? I think that I'm in sort  
24 of a unique position because when I was still with the City  
25 of South San Francisco this project came up for approval

1 with our planning Commission. And I also happened to be  
2 working in the Sustainability Division when we were  
3 developing our Climate Action Plan, so I'm sort of in a  
4 unique place.

5 Also, after spending 23 years, or almost  
6 23 years, with the City of South San Francisco, I had an  
7 opportunity to see the South Francisco Scavenger Company as  
8 a community partner upfront and personal.

9 And I think that if you read our mission  
10 statement, the fact that we're committed to providing solid  
11 waste management services of the highest quality delivered  
12 with pride and professionalism to all our customers  
13 utilizing environmentally sensitive equipment that is safe,  
14 efficient, reliable, and appropriate to the work we  
15 perform, in carrying out our mission, we intend to provide  
16 and maintain the best possible work environment for our  
17 employees, fully cooperate with all governing and  
18 regulating agencies, and do our part to help create a sense  
19 of partnership between our company and the communities that  
20 we serve. And, again, I can tell you, firsthand, that that  
21 has been the case for as of now 101 years.

22 A couple of the things that I think make us  
23 unique as a garbage company is that we were out front, we  
24 started making -- taking measurements in 2006. We put  
25 together a Climate Action Plan. We actually -- the

1 Scavenger Company actually had a Climate Action Plan prior  
2 to the city.

3           We put together our first sustainability report  
4 in 2011. We put out our second report last year. And we  
5 have made an annual commitment. One of the things,  
6 obviously, that is our biggest GHG producer is our vehicle  
7 fleet. And so, consequently, to make the decision to move  
8 to the dry anaerobic digestion facility and to look at ways  
9 to transition our fleet first to biodiesel and then to  
10 compressed natural gas, was a part of our commitment to  
11 reduce the amount of greenhouse gas emissions that we put  
12 out into the communities that we serve. And, quite  
13 frankly, the communities that all of -- virtually all of  
14 our partners live in and many of our employees.

15           So this is really something where this is not  
16 just about hey people come in, they go to work, they go  
17 home. This is a situation where people come to work and  
18 they go home to the community that they serve or the  
19 communities that they serve. And I think that is also  
20 something that's relatively unique.

21           We have been fortunate enough to be recognized by  
22 the sustainable San Mateo County. And we just got some  
23 very good news a couple of days ago. The National Waste  
24 and Recycling Association named Blue Line Transfer, our  
25 sister company, the 2015 Innovator of the Year along with



1 Zero Waste Energy. So that's something we're particularly  
2 proud of as a result of our digester.

3 The approval process, I think you could say, was  
4 fairly smooth. There's a very accessible relationship  
5 between our company and all of the cities that we serve.  
6 It is not unusual to see some of our partners directly  
7 involved, not just in service organizations, but on boards  
8 and commissions in the communities that we serve as well.

9 So when we come before, say, the planning  
10 commission or before the City Council there's a very  
11 comfortable and, I think, a very trusting give and take.  
12 People don't feel like they're being sold a bill of goods,  
13 so to speak, because they know these are people who have  
14 been in the communities a very long time.

15 Believe it or not, the people who are currently  
16 our partners and they still have -- and then some of their  
17 children are now working, but we -- this is the fourth  
18 generation -- fourth generation of people who are working  
19 for the South San Francisco Scavenger Company Blue Line  
20 Transfer. And when you realize that the City of South San  
21 Francisco celebrated its 100th birthday in 2008 and we just  
22 celebrated our 100th birthday last year in 2014, both the  
23 Scavenger Company and the City sort of grew together.

24 For many, many years this was -- the City of  
25 South San Francisco is known as the industrial city. And

1 it now is known also as the birthplace of biotechnology.  
2 So we there's a lot of parallels to the fact that we are  
3 willing to look at taking on cutting-edge technology for  
4 the work that we do in the same city where you have  
5 companies that are looking to try to find cures for cancer.

6 We are also driven by the fact that some of those  
7 very partners -- and it's not just the City of South San  
8 Francisco -- it's the City of Brisbane, the City of  
9 Millbrae, portions of Colma and the San Francisco  
10 International Airport. And so there are drivers within  
11 those communities.

12 For example, the airport, technically, while it's  
13 in San Mateo County, is under the auspicious of the City of  
14 San Francisco. We all know that San Francisco has very  
15 aggressive environmental goals as well. Companies like  
16 Genentech. Genentech, we've been collecting compost from  
17 them for a very long time. They have a lot of sustainable  
18 programs. And, earlier this year, as a matter of fact, in  
19 May, just cut the ribbon on a highly green I believe its  
20 platinum LEED office building on their campus.

21 We've also got the South San Francisco Conference  
22 Center, which is sort of a subset of the city itself. It  
23 is working toward obtaining its LEED certification, and so  
24 that's something else where we have worked very closely  
25 with them on composting for them, so on and so forth.

1           The Climate Action Plans, I know the City of  
2 South San Francisco has theirs in place, and I believe  
3 Millbrae and Brisbane, if they don't have them, are close  
4 behind.

5           But all of this is very helpful when it comes to  
6 looking at land use, looking at permitting. When it came  
7 time for us to look at building this digestion facility,  
8 you know, there were some space constraints, certainly.

9           But when you look at the positive aspects that  
10 this was going to be a dry facility versus a wet facility,  
11 some of the complications that come with wet versus dry  
12 were eliminated, also, the fact that we were going to be  
13 looking to reduce not only our own carbon footprint, but  
14 the carbon footprint of the communities that we served, in  
15 a lot of respects, it was kind of a no brainer.

16           It's also very helpful -- Evan, I believe,  
17 alluded to the franchise agreements. That is also a very  
18 positive aspect. When you have a 20-year franchise  
19 agreement, that does make some things simpler. On the  
20 other hand, we do go before the city council every year and  
21 we give them an update on what capital investments we have  
22 made and how those are benefiting and how -- what we're  
23 accomplishing along the way.

24           This grant opportunity was huge. It -- you know,  
25 the facility fit into our program, it fit into the city's.

1 We are -- "we" being the South San Francisco Scavenger  
2 Company -- are actually mentioned in the City's Climate  
3 Action Plan because one of the things that we're in  
4 partnership to do is to convert 86 percent of our fleet to  
5 low- and no-emission technology. Well, the approval of  
6 this project dovetailed altogether with that very, very  
7 nicely.

8           One of the other things that I think is really a  
9 big thing for us -- and this is a picture of our ribbon  
10 cutting last September -- we had members of each of the  
11 city councils of the cities that we serve on hand. It was  
12 a very happy day. It was also a very beautiful day in  
13 South San Francisco. We always like those. But I think  
14 that, again, it's very indicative of what I would call the  
15 partnership, a relationship that we have, not only within  
16 our own company, but with the communities that we serve.

17           I was talking to one of the partners earlier this  
18 week, and he said something that I thought was really  
19 probably pretty perfect for today, is that one of the  
20 advantages that we have in our company is that if we have  
21 to run something up the ladder, it's a stepladder, not an  
22 extension ladder.

23           (Laughter.)

24           MS. KENNEDY: And I think that that also kind of  
25 holds true when we're dealing with the municipalities that

1 we serve.

2           So, Evan, I'm going to bring you back up. I know  
3 that's the -- the touchy/feely part was the quick part.

4           But the collaboration, I think, has been key for  
5 us. And I think that for projects that are going to move  
6 forward in other communities, that may or may not be able  
7 to be replicated, but it is certainly something that I  
8 think would be productive ahead of time, would be to kind  
9 of make sure you've got that groundwork laid. But this is  
10 something that's certainly possible, and I think can make a  
11 difference in those communities as well.

12           MR. EDGAR: Thank you, Susan.

13           I'm going to close out here by -- with this chart  
14 that shows a closed loop system. (Indiscernible) our  
15 economy. Everything is local, local. We don't have to  
16 depend on big oil, big waste, big utilities. But, from  
17 that, we're making our own fuel and making digestate for  
18 big soil in order to have that be the next forward step to  
19 sequester carbon. And that's been underutilized, though,  
20 by having compost and having -- go back to the soils of  
21 California, that will be the next big thing.

22           So, to close out, it has been zero waste. We can  
23 do it. We're a net zero facility with carbon-negative  
24 fuel.

25           So thank you very much.

1           COMMISSIONER SCOTT: Thank you very much for that  
2 excellent presentation.

3           Let me turn to our reviewers. And, Corinne,  
4 would you like to go first, or should I start with Clark  
5 and come this way?

6           MS. DRENNAN: Why don't you go backwards?

7           COMMISSIONER SCOTT: All right. I'll start with  
8 Clark and come this way.

9           MR. WILLIAMS: Clark Williams. Thank you, Susan  
10 and Evan.

11           This is certainly a project I'm really excited  
12 about. And kudos to the CEC for funding this one. I'm  
13 really excited to see the six-month data come in. It will  
14 be (indiscernible) to get a look at that and see how that  
15 might affect some of the pathways that (indiscernible) LCFS  
16 as a well.

17           Certainly, the state has a number of ambitious  
18 activities underway. We're actively working on the  
19 reducing (indiscernible), includes methane from landfills  
20 is a huge factor that's based -- in fact, you know, there's  
21 discussions right now about the fact that we really need to  
22 move away from that practice in light of 2025 for all  
23 intents and purposes eliminating landfill organics.

24           I think these type of projects are going to be  
25 instrumental in us achieving that, as well as our other

1 policy goals, such as, 75-percent reduction landfilling of  
2 materials, eliminating use of ADC in green waste for  
3 (indiscernible) credits, and also providing generators,  
4 organics, a home, a place to recycle these materials.

5           When I think about the, you know, waste industry,  
6 a lot of folks say, "Well, you know, the trash truck comes  
7 and takes away my waste. Where it goes, somewhere far  
8 away." You guys are unique, where it's really, as you  
9 mentioned, at a local solution and here you're handling  
10 this material in an urban environment with high-tech  
11 neighbors. And it seems like you're doing it successfully  
12 so far.

13           I was hoping you could speak a little bit to what  
14 it takes to make that successful, to be able to have this  
15 operation work in this urban environment and process, what  
16 I think many folks in this room will know, can be a  
17 material that has some odor associated it.

18           MR. EDGAR: Good question. We work with -- each  
19 county has a local enforcement agency on behalf of power  
20 cycles (indiscernible). So the county has inspectors, they  
21 come out every month to look at our transfer stations and  
22 recycling facility anyway. So what we put together was the  
23 Odor Impact Minimization Plan. Some of the improvements  
24 that we had to do on-site, the cost overrun, what it had to  
25 do with, put in extra drainage and extra controls for odor

1 and for drainage. So we did some more mitigation than we  
2 expected, but it's been very beneficial.

3 On upstart, we did have -- when we were  
4 commissioning the bladder, we did have a situation where we  
5 had one that hiccupped in a community when the wind wasn't  
6 blowing in South City for three days in a row. We had a  
7 very --

8 MS. KENNEDY: Very rare.

9 MR. EDGAR: Yeah. We had to work the bladder and  
10 it was a standstill. So we did have that one complaint.  
11 We got everybody involved, they understood. And since that  
12 six months, we haven't had that -- seven months, we haven't  
13 had the problem.

14 But by having a good local enforcement agency,  
15 boots on the ground, and working with them on the  
16 permitting, with a power cycle, we were able to have  
17 mitigations in place through the land use to make it work.

18 MR. WILLIAMS: That's really encouraging to hear.

19 You talked a good bit about the economics for the  
20 project. And, really, one of the things I took away from,  
21 you know, going through the report is (indiscernible)  
22 supports that tip fee, which you mentioned about a \$90 tip  
23 fee. Didn't hear as much about the revenues associated  
24 with increasing the fuel and also the digestate that  
25 (indiscernible) says is going to accomplish this. I'm



1 hoping you can touch on the revenue streams from the  
2 project and also how some of your local government partners  
3 here franchise offered for -- you know, what their interest  
4 is in any revenues and kind of how that's been dealt with  
5 through your contracts with them.

6 MR. EDGAR: An innovator is a tip fee, for an  
7 average transfer station is from 90 to 120 bucks a ton. So  
8 having a small-scale facility, the price point was a little  
9 higher than over in Napa, it was about 50 bucks a ton,  
10 because of its small scale, but there's enough tip fee  
11 there in order to get that revenue.

12 With regards to the expenses -- well, the revenue  
13 on the RINS and LCFS2, we have a line item, but put down  
14 zero, because working with our banks, our banks aren't  
15 going to monetize that or look at that as long-term revenue  
16 because there is just no certainty. We've been working  
17 last year with the Bio Association of California to have  
18 some kind of bank reserve, working in Alaska with some type  
19 of renewable RNG standard as long term certainty. But  
20 until that's there, we still have that line item and it  
21 will be zero.

22 We are applying for the cost to do that business  
23 at a small scale, to apply for the RINS and LCS2s at a lot  
24 of administrative cost for such a small scale, but we're  
25 doing that anyway with ICS. So we will have in our

1 application and -- to get some benefit in a volatile spot  
2 (indiscernible) market that will be a revenue source.

3           With regards to the digestate, we keep it as  
4 clean as possible. Our deal is that we want to be able to  
5 take the digestate, we're taking it down to ZBest Facility  
6 down in Gilroy where it goes right into -- to be matured.  
7 When the digestate leaves it, we do have an investable  
8 compost here, but it's not -- it hasn't matured yet. ZBest  
9 has been in the business since the '90s. So we take it  
10 down there and we kind of let it mature and finish it off  
11 and screen it. There's some plastics, you know, that's  
12 part of it. But it is a cost center. So by transporting  
13 the digestate down there, but by keeping it cleaner, it's  
14 at the end that we discount price and it's a raw product  
15 going into composting.

16           With regards to the total cost, you know, each  
17 year we got to true up, and I turn that over to Susan  
18 Kennedy as to how they deal with the franchise issues.

19           MS. KENNEDY: So, basically, they take that to  
20 each of the city councils on a regular basis. There's an  
21 annual review. There's an annual proposal. I don't have  
22 all of the details with me on what that percentage is, but  
23 that's typically dealt with in partnership with the Public  
24 Works Department. But, again, that also comes back to the  
25 fact that when we make the report, we talk to them about

1 what our capital investments have been, where we are, where  
2 we're going, what that's going to translate into, so that  
3 there's -- so it's very clear, not only to the elected  
4 bodies, but to the public, in general, where the money that  
5 they are paying either as residential customers or as  
6 commercial customers is going in the big picture.

7 MR. WILLIAMS: That's very helpful.

8 And then as far as the biomethane does that have  
9 a higher value than the natural gas you're replacing to you  
10 as the company or is it pretty much --

11 MR. EDGAR: I see where you're going. Good  
12 question. How we do it right now is the truck, the CNG  
13 truck, we're just paying the index CNG rate. So internally  
14 that biomethane goes -- we have to pay that price anyway  
15 whatever the market rate is, that's what it costs.

16 So we track that, so -- for the biomethane. So  
17 we use a tip fee on the front side to pay for -- you know,  
18 to make the biomethane. But to sell the biomethane, it's  
19 just an indexed price that we would have to buy anyway.

20 It goes from the transfer station into the  
21 Scavenger Collection Company. So that's a transfer of a  
22 different company that buys -- that Scavenger's buy the  
23 fuel from the transfer station at the market rate.

24 MR. WADE: Okay. Thanks a lot.

25 So we are still struggling with how to get

1 smaller firms into the LCFS and how to streamline the  
2 application process for carbon intensities for projects  
3 such as yourself. Do you have any feedback on that process  
4 or -- I mean, I can't recall the details of how far you  
5 guys have gotten, but I'd be interested in hearing that.

6 And then another question I would have is sort of  
7 what prompted the move to use the biomethane as a fuel,  
8 right? Because we're certainly looking for more of that in  
9 our program and obviously, there are alternate ways you  
10 could use the biomethane from AD.

11 So if you could touch on both of those?

12 MR. EDGAR: Yeah. Good points.

13 We have a partnership with Clean Energy. They  
14 have a fueling station there as well, so we can work with  
15 Clean Energy as a "blue gas" we call it, and plus they have  
16 a green gas -- they have a (indiscernible) back this from  
17 SRF and a clean energy renewable fuels. So they're  
18 handling that for us with ICS, so they take a percentage.  
19 So with their market power of knowing how to go through the  
20 system and a lot of their expertise, they have an  
21 administrative fee in order to manage that for us. And  
22 there anyway with blue gas, we're able to do that  
23 effectively.

24 We tried to do it with another firm initially and  
25 it was too much of a learning curve. So, by having that

1 relationship with Clean Energy we were able to do it cost  
2 effectively.

3           The second question had to do with why  
4 biomethane. Well, you can't put anything in the pipeline  
5 in California, the PUC, the new rules, even the good stuff  
6 you can't -- it's tough to do. And then that's -- and then  
7 the interconnection, you know, whether it be any big  
8 utility for small-scale guys like us, even big scale, it's  
9 a show stopper. We don't even try. It never even was  
10 feasible to start with. Why go there when we have our  
11 internal offtake agreement with our own fleet.

12           MR. WADE: Did you consider 10 cents or anything  
13 else like that or did it --

14           MR. EDGAR: (Indiscernible) permitted there, a  
15 new one. Why do that? I'd go to the tank, not to the grid  
16 every day, because we got diesel like CARB wanted us to do.  
17 We made a big investment with 40,000-50,000 extra dollars  
18 for a truck. So we're on CNG now. It's a no-brainer to  
19 have biomethane going to CNG, but we want CARB to step up  
20 to help us out. On a Heavy-duty fleet, Class 7, Class 8 we  
21 can't EV up. We just got off diesel and now you want us to  
22 get on EV? Ain't gonna happen.

23           So you guy needs to step up and help fund the  
24 transition for a CNG fleet, because we're stepping up doing  
25 our part to get off diesel.

1 MR. WADE: Understood, all right thanks.

2 MR. KAFFKA: It looks like when you wrote the  
3 reports (indiscernible) you guys had met your goals and  
4 perhaps exceeded them and congratulations on an exciting,  
5 successful project.

6 My interests are a little bit in the digestates.  
7 So it sounds like you are transporting about 70 percent  
8 moisture content material to Gilroy, presumably using  
9 diesel truck?

10 MR. EDGAR: Currently we are, right.

11 MR. KAFFKA: Yeah, now do you account for that  
12 carbon cost in your project as part of your CI?

13 MR. EDGAR: That's a good question. As part of  
14 the footprint of the company yes, we do the Climate  
15 Registry. And we're voluntarily reporting that since  
16 '06. So the company definitely includes that carbon with  
17 regards to transporting it, so the company reports that in  
18 the Climate Registry.

19 With regards to the CI I'm not sure what the  
20 default value is, but that was the report we're giving to  
21 Hugh, yes. But regards to the carbon model, I'm not sure  
22 what the car. given to Hugh, yes. But with regards to the  
23 carbon model, I'm not sure what the carbon model does in  
24 order to account for that default value of minus 30. But  
25 specifically we have to do that as part of our full cost

1 accounting on greenhouse gases, so yes.

2 MR. KAFFKA: Okay. So you can take it down to  
3 zero waste. So presumably if you could compost it next  
4 door or onsite or close you'd have a lower carbon intensity  
5 medium.

6 MR. EDGAR: Well, great leading question. Yeah,  
7 Kevin Miller at City of NAPA, we have in that project an  
8 onsite (indiscernible) compost facility area. And by going  
9 into residential, getting the food waste out of  
10 residential, we're going to cover areas of that pile, which  
11 is BACT, for composting.

12 So actually as part of that project where we were  
13 able to use this SEED money from CEC was a big -- 3 million  
14 was a big impetus in order to do the cast system, to take  
15 care of the digestate, a whole new stormwater system,  
16 because stormwater pollution prevention plans are tough  
17 nowadays at the Water Board for doing that and the Air  
18 Board. And so yeah, it's possible.

19 MR. KAFFKA: Thanks, so a couple of more  
20 questions related to that. So when that compost goes down  
21 to Zero Waste do you take any -- presuming you could  
22 actually come up with a number for carbon accumulations  
23 solely, which I think is a difficult task. But assuming  
24 you could, would you take credit for that as part of your  
25 CI or does take credit for or Zero Waste, or who gets that?

1           MR. EDGAR: Right now, how we manage that is that  
2 we only account for the (indiscernible) landfill emissions  
3 in today's CI. It's all you even can do, is just avoid  
4 landfill emissions; otherwise that material's that's gone  
5 to the landfill to create methane. With regards to the CI,  
6 with regards to -- we can't account for it. It would have  
7 to be the farmer or the user or the vineyard.

8           The Marin Corman Project (phonetic) is a great  
9 example of how the metrics for -- (indiscernible) carbon or  
10 the (indiscernible) Napa Carbon Project as well with all  
11 the compost going to the vineyards and initiating a  
12 protocol for compost use for the user of compost to get a  
13 credit for that, because they are making a decision. And  
14 do we want to work with CFA with the Healthy Soils  
15 Initiative to do that? They're not there yet and we're  
16 looking for different comparable case studies in order to  
17 make the science better.

18           There is a number now on the life cycle on a  
19 greenhouse gas reduction factor for compost use. I think  
20 it's 2.4 per tons, so there is something now. I think it  
21 can only get better with better science.

22           MR. KAFFKA: Yes, (indiscernible) Last question,  
23 in your description of your dry process you talk about  
24 ammonia stripping. What's the fate of that nitrogen?

25           MR. EDGAR: Good question. My engineer is not



1 here today, but --

2 MR KAFFKA: Is it voided basically as N2 gas?

3 MR. EDGAR: You know, I can't answer that today,  
4 but it will be in the report. But I'm not sure of the data  
5 today.

6 MR KAFFKA: Okay.

7 MS. DRENNAN: The complexities of the waste  
8 management industry are absolutely fascinating, so thank  
9 you so much for the presentation. And I do hope to be able  
10 to talk with you another time in addition to this  
11 experience.

12 So I'm curious as to how you might go about  
13 replication. There was an awful lot of discussion about  
14 partnerships with the community, but after RCRA Subtitle D  
15 in '93 and the requirement for sanitary landfills, it seems  
16 like waste management companies just gobbled each other up.  
17 And there are maybe 13 very large ones now, so I'm curious  
18 as to how you survived that.

19 But also I'm curious as to how you might engage  
20 them, at least one of whom is on your client list to help  
21 you replicate this type of model.

22 MR. EDGAR: We answer to Main Street, not Wall  
23 Street. And with (indiscernible) a big margin, 40 percent  
24 for landfilling. And I think that the Legacy Landfill gas  
25 in place needs to be taken (indiscernible) is doing that.

1 But we should have no incentive to put any more organics  
2 into the landfill, so we're not conflicted. Like I said we  
3 don't own landfills, we own the trust of the community.

4 And knowing that we have this ability to partner  
5 locally and throughout California independent of taking  
6 back the turf we were gobbled up in the late '90s, but we  
7 were ungobbled, because of the fact that we do have omitted  
8 programs. We don't send our profits to Wall Street, we  
9 keep it local and we're able to take a lot of cities back  
10 from Waste Management. We do the right thing. We don't  
11 use a lot of (indiscernible) landfills. The incentives by  
12 big landfills are to use organics at the landfill for  
13 (indiscernible) sliding credit.

14 They have huge margins and it's too cheap. We  
15 have 1.5 billion tons of capacity of landfills in  
16 California and it's too cheap to meter. So we need the  
17 SEED money from CEC in helping CARB, because of the fat  
18 that local governments in some markets would rather go to  
19 the landfill. Because they don't have the sensitivity of  
20 the Bay Area's Climate Action Plans.

21 The City of L.A. stepped up, but you go to Inland  
22 Empire, you go to the Central Valley, they're going to go  
23 to the landfill. They go to the fill, not to the tank. So  
24 it isn't to try and part with the big guys, they've --  
25 yeah, we keep it local.

1 MS. DRENNAN: So these big guys also have the  
2 ability to procure the permitting and whatnot that are  
3 required to operate these gigantic sites. Perhaps they  
4 might also have the bandwidth to enable access to  
5 pipelining the Grid in a way that you might not be able to  
6 achieve?

7 MR. EDGAR: We never needed big landfills or big  
8 waste. We don't need big utilities or we don't need big  
9 oil, so why do that? We keep it local and we have the  
10 innovation to do it right.

11 MS. DRENNAN: Okay. I only ask, because I'm  
12 curious about replication and how to do that.

13 MR. EDGAR: Well, we replicate it locally away  
14 from landfills. We replicate it with private independent  
15 companionable throughout California that want to do the  
16 right thing. And a lot of cities are there, mostly on the  
17 Coast and the Bay Area and the City of L.A. now, bringing  
18 the L.A. market up. They raised the bar and Paul Relis  
19 will be talking, at the CR&R and what they're doing in  
20 Southern California is great work. So that's how we're  
21 going to do it. We're not going to partner with landfills.

22 MS. DRENNAN: Okay. Fair enough, well thank you.  
23 I only have one more question. It's about flow controls  
24 and I'm wondering if those present any barriers to you here  
25 and if there are any policy needs for those in California?

1 MR. EDGAR: That's a great question, because when  
2 you keep it local and small, 100 tons a day and within a  
3 franchise -- we're not the flow control of yes, your waste  
4 energy plant back East or your big facility that you -- A  
5 big waste energy facility like Plasco tried to come to  
6 Salinas to do waste energy, 1,000 tons a day, 100 bucks a  
7 ton, \$100 million, no RPS and no waste diversion need flow  
8 control. Because the waste stream, you've got it all mixed  
9 up with mixed waste and mixed messages. Who wants that?

10 So no, flow control is for the big facilities,  
11 but your franchise at the local level, we have enough  
12 within the community of 100,000 people to have 25,000 tons  
13 per year organic waste to have our model. So any city of  
14 100,000 people have the right size, circular economy, they  
15 have enough organic waste to fuel the trucks to keep it  
16 local.

17 MS. DRENNAN: So this is not going to present a  
18 challenge for most municipalities in the State of  
19 California?

20 MR. EDGAR: Not at flow control, at quality  
21 control.

22 MS. DRENNAN: Quality, yeah.

23 MR. EDGAR: And that's what we do.

24 MS. DRENNAN: Okay. Thank you.

25 COMMISSIONER SCOTT: Great, thank you so very

1 much to you, Susan and to Evan, for the very terrific  
2 presentation and our reviewers for their thoughtful  
3 questions.

4           We have next on our agenda is Tom Koehler. And  
5 I'll let Tim introduce him. For our time check we'll give  
6 you until about 11:25 to do the presentation and then the  
7 reviewers until about 11:45 to ask questions. Go ahead,  
8 Tim.

9           MR. OLSON: So yeah, and I think Tom does not  
10 have a PowerPoint presentation, so it might be shorter than  
11 that. But I'd like to introduce him. He's Vice President  
12 from Pacific Ethanol.

13           The Energy Commission awarded money awarded to  
14 Pacific Ethanol and two other companies: Aemetis and  
15 Calgren about five years ago for kind of an early version  
16 of a production incentive. We refer to it as CPIP.

17           They also won a competitive award for green  
18 sorghum feedstock contract. They operate two projects in  
19 California, corn ethanol they're trying to look at these  
20 lower CI fuels. And they also acquired Aventine in  
21 Illinois, so they're now much more nationwide as company.

22           MR. KOEHLER: Okay. Thank you. And it's great  
23 to hear all these other projects as well. And I do think  
24 that the CEC's program is very complimentary to the LCFS  
25 and has been. And so the continuation of those programs

1 and collaboration, I think, is really important going  
2 forward.

3           There is -- and I guess what I like to talk about  
4 what you've heard about, the performance concept, and  
5 actually every grant that we've been involved with has had  
6 a performance measure put into it.

7           And then Steve, you talked about the tension  
8 between commercialization and getting reductions today  
9 versus breakthrough technologies. And I think that's a  
10 legitimate question and I think the answer is we need both.

11           There's not enough funding right now to do both,  
12 so that's why we joined together with the biogas folks and  
13 diesel replacements as a Biofuels Initiative on our asking  
14 the Legislature for \$210 million from the Cap and Trade  
15 money. To come to CEC to essentially -- in a siloed  
16 approach, because all these fuels are different and have  
17 different needs. But with that money the gaseous fuels can  
18 create a performance-based program that includes  
19 infrastructure needs, the diesel replacements, and the  
20 gasoline replacements.

21           And so ultimately, I think that's a great use of  
22 those funds for getting the performance. And maybe the  
23 existing 118 Funds can be uses for more R&D potentially.  
24 I'm just kind of thinking off the top of my head, but  
25 there's no doubt we need more resources and all the fuels

1 need them.

2           So just to review, the CPIP is -- that was five  
3 years ago, it was very successful. So it's been money well  
4 spent. It actually helped get -- it was right at the  
5 beginning of the great recession, the bust of the industry  
6 to a degree and the middle of the bust. And so it helped  
7 us get our plant back up and running and we haven't stopped  
8 running since. And so we're providing the local economic  
9 activity.

10           It was a innovative program, because it only  
11 kicked in as support for the producers when margins were  
12 very low. And then it said when margins get high you pay  
13 it back. So it's actually the only program in the history  
14 of the 118 that has returned the money. So I think that's  
15 a success as well.

16           So and it got pulled short and that's the other  
17 question you'd asked about what are the -- what kind of  
18 performance? If you're doing a performance what's the lead  
19 time and how much is it? And I think that was envisioned  
20 to be a seven-year program and it turned into a one-year  
21 program. But the one-year was useful enough.

22           We're now in another performance-based program  
23 that I think is rather innovative, which is with the  
24 sorghum. We're doing it in collaboration with the other  
25 ethanol companies in California who also won the awards.

1 And that's performance-based, because the bulk of that  
2 won't -- the money won't get spent unless we run sorghum  
3 through our plant.

4 And there is a portion of the funds which are  
5 going right now into working with the university system and  
6 doing test plots for sorghum. And with various degrees of  
7 water just to see what that looks like. And working --  
8 going out and marketing and working with the farmers. So  
9 to get farmers to switch to another crop that they haven't  
10 used in quite some time, you know, it's going to take time  
11 and we know that.

12 But it's worth the investment and effort. We  
13 want to do it not only with sorghum, but with other crops.  
14 So this is (indiscernible) a way to diversify what we're  
15 doing, not stop what we're doing, because corn is actually  
16 a very good low-carbon feedstock.

17 So I would say in summation that the projects  
18 that we've been involved with have been successful.  
19 They've returned the investment in terms of both carbon  
20 reduction and economic development. We are, combined, the  
21 three ethanol companies, the four plants are the largest  
22 in-state contributor to LCFS compliance to date. So that's  
23 significant. We're a success story. We're going to  
24 continue to invest. We're an existing facility, so that  
25 gives us a platform to continue to invest in the lower



1 carbon. And having a performance-based program, not only  
2 will help us, but it will ensure that the money is well  
3 spent.

4 So I'll just leave it at that.

5 COMMISSIONER SCOTT: All right, great. Thank  
6 you, so very much.

7 I would love to ask you a question. You  
8 mentioned that one of the challenges potentially for  
9 finding new feedstocks was getting the farmers to want to  
10 grow and learn about a new crop. Are there other  
11 challenges like that, that you're seeing when you're trying  
12 to diversify the feedstocks that you use?

13 MR. KOEHLER: Well, from purpose grown -- so I  
14 mean, the challenges really are can it work into the  
15 economics? So that's the largest challenge, because the  
16 farmer has a lot of decisions and opportunities to make.  
17 And so does what we can pay the farmer work for them in a  
18 rotation, perhaps. So it's got to be mutually beneficial,  
19 so finding that is the important thing.

20 Other feedstocks, the cellulosic -- I mean, we're  
21 actually making cellulose ethanol today from the cellulose  
22 portion of the corn kernel. And so that's the easiest  
23 entry into the cellulosic. When you get into other  
24 feedstocks, right now yeah there's big challenges.

25 Collecting them is -- and the whole system of

1 moving through a manufacturing is a big challenge and then  
2 there's the technology, which is not today -- for a large  
3 scale is just not commercial at the moment.

4 But back to the performance, because it's really  
5 what do we need in the State? We need carbon reductions.  
6 And we need tons reduced and we need to do it here, so we  
7 believe that we're going to continue with our current  
8 feedstock to get lower and lower and as we're successful  
9 talking and diversifying with other feedstocks that will  
10 add to that.

11 COMMISSIONER SCOTT: Okay. Thank you.

12 Let me turn our reviewers and we'll go with this  
13 latest panel. I'll start with you, Corrine.

14 MS. DRENNAN: Well, congratulations on being very  
15 successful and also for putting an awful lot of skin in the  
16 game. That was a surprise in reading through the  
17 materials.

18 So now that you're up and going, is there a  
19 potential for expanding your plant to enable the further  
20 diversification of your products like by using ethanol?

21 MR. KOEHLER: What do you mean by that?

22 MS. DRENNAN: So there are things that you could  
23 make with ethanol that could be highly value-added, that  
24 also could benefit from lower carbon intensity. Would  
25 those be options for you in coming up against a market that

1 seems to be somewhat barriered by the perceived blend wall?

2 MR. KOEHLER: Maybe you can be even more  
3 specific? I mean, what are you thinking exactly, because I  
4 can talk about the blend wall --

5 MS. DRENNAN: What I'm thinking exactly is that  
6 there are people that are developing technologies that  
7 would take the ethanol and make it into jet fuel. And they  
8 would love to have an ethanol supplier.

9 MR. KOEHLER: Well, I mean we'll go to any market  
10 that works. Personally, we haven't been doing the R&D on  
11 that. I think maybe another company, one of the other  
12 ethanol companies has been. And if that technology matures  
13 that would be a great use.

14 MS. DRENNAN: And what about your CO2?

15 MR. KOEHLER: We're, right now, looking at  
16 various options for that. You know, one is just capturing  
17 it and taking it to the beverage market. The other  
18 interesting option is to take it and go to the oil wells  
19 with it. And to begin that's market-driven. And right now  
20 with the price of oil that market's not acceptable, but  
21 those are the kind of things that we're looking at all the  
22 time.

23 And in terms of the blend wall, Sam's going to  
24 take care of that (indiscernible) so we're confident that's  
25 going to happen, soon.

1 MS. DRENNAN: Okay.

2 COMMISSIONER SCOTT: Great, any others?

3 MS. DRENNAN: Yeah, but I'll take them offline.

4 Okay.

5 MR. KOEHLER: Okay. Thank you.

6 COMMISSIONER SCOTT: Stephen?

7 MR. KAFFKA: Are you processing any sorghum now  
8 or have you been?

9 MR. KOEHLER: No, today no. But we did in the  
10 past and what happened -- and successfully we learned some  
11 things about it. And so part of that program is to process  
12 -- so that the growers can see that it can work.

13 MR. KAFFKA: You have the capacity?

14 MR. KOEHLER: Yeah, that we have the capacity.  
15 And we plan on doing that. And again, I think, it's  
16 illustrative of some of the world that we live in, where  
17 the market just went through the roof, because China  
18 started just gobbling up any sorghum available.

19 And so that sent a nice signal to farmers, but  
20 then it took the product out of the market for us in terms  
21 of economics through the plants. So it's just a little  
22 balancing act and I think we're going to get to a point  
23 there that that's going to be put back in balance.

24 MR. KAFFKA: It looks like you have a long list -  
25 - in the proposal that you submitted and was approved -- a

1 long list of objectives and tasks. So did you install your  
2 AGT system? In other words, I guess that's a general  
3 question about how much difference there is between  
4 processing and sorghum. I guess you were going to install  
5 an AGT system.

6 MR. KOEHLER: Yeah, and I don't know off the top  
7 of my head whether that's been done in our plant or the  
8 other plants, but it's definitely a -- you know, needs to  
9 be done in order to make it work.

10 MR. KAFFKA: There's a component that's  
11 associated with, of course, UC and (indiscernible) Fresno.  
12 Are those projects, going forward, those research projects?

13 MR. KOEHLER: Yeah, there's over 40 plots right  
14 now that are going forward and we're looking forward to  
15 getting the report, I think in November.

16 MR. KAFFKA: Yeah, your first progress report on  
17 that?

18 MR. KOEHLER: Yeah, yeah.

19 MR. KAFFKA: It's a tough year to try and  
20 introduce crops here in California against the drought  
21 standards. But just to support your interest in this crop  
22 I think there is -- or our work indicates that there's  
23 economic room for this crop existence in the State. So  
24 it's just a question of having the right kind of farming  
25 conditions available. Hopefully, we'll get back to doing

1 that.

2 MR. KOEHLER: Yeah, right. So you've got market  
3 and weather, but we think so too. And it's also a matter  
4 of figuring out just the best way to do the marketing to  
5 the farmers.

6 MR. KAFFKA: So what you're saying is you're  
7 really not expending much in the way of resources other  
8 than on the research end of this or the development into  
9 this until there's a sorghum market that you can  
10 participate in?

11 MR. KOEHLER: Yes. Yeah, at the moment that's  
12 true. And we think that will actually be in line and  
13 getting in sync with the growing season coming up, so that  
14 we'll be able to do both -- bring the sorghum through the  
15 plant, source it, both in and out of state, as well as get  
16 the farmers interested in a longer commitment.

17 MR. KAFFKA: One of the potentially attractive  
18 things about sorghum at least in arguments to me, is that  
19 it somehow going to reduce the carbon footprint of the  
20 feedstock production.

21 MR. KOEHLER: Yeah.

22 MR. KAFFKA: And if you do -- determining that, I  
23 guess, would be a function of the research projects that  
24 are going on?

25 MR. KOEHLER: Yeah, and also I mean we've been

1 working with the Air Resource Board and working through our  
2 CIs. And so it looks like we'll have CIs that are lower  
3 than what we're doing today.

4 MR. KAFFKA: And mostly that's based on the  
5 standard pathway for CIs for sorghum that the Air Board  
6 uses compared to grain corn?

7 MR. KOEHLER: Yes. And then some of these -- you  
8 know, what we learned in trials and actual instate activity  
9 will give us more information. And hopefully allow us to  
10 go back with better information.

11 MR. KAFFKA: Yes, most of that's still pending?

12 MR. KOEHLER: Yeah.

13 MR. KAFFKA: Okay. So that's it.

14 MR. KOEHLER: Yeah, good.

15 COMMISSIONER SCOTT: Sam?

16 MR. WADE: I just wanted to go back to some of  
17 the concepts that Harry raised earlier (indiscernible) on a  
18 few of them.

19 MR. KAFFKA: Yeah.

20 MR. WADE: So there was a peer-review process for  
21 the larger portion of the -- or the larger projects that  
22 are considered using 118 funds. What would that look like  
23 in your mind or give me a perspective if there was sort of  
24 an ethanol industry peer review, was that something worth  
25 entertaining on your side? You're on about equal sides, if

1 you guys would be interested in that, but --

2 MR. KOEHLER: You know, I guess in my head it's  
3 continually focused on the performance-based way of going  
4 about it. And so in that sense it's not -- the peer review  
5 is not important. But it's really you're going to know if  
6 it's working and you're looking for tons reduced, of  
7 carbon. So I think in ways that we can keep things simple,  
8 we ought to. So I hadn't given the peer-review process a  
9 lot of thought.

10 Certainly getting in experts to help that project  
11 is a good idea, always. But I think just trying to keep  
12 things -- you know, Lisa Morgan said it yesterday too,  
13 which is (indiscernible) a lot of fun there. You know,  
14 just try to keep things as simple as possible is a good --

15 MR. WADE: Harry also touched on the need to  
16 ensure (indiscernible) provided long-term though. And you  
17 guys had some experience with that, right? I mean, is  
18 there anything you learned from your experience with this  
19 specific mechanism that could be translated or used more  
20 properly by the CEC?

21 MR. KOEHLER: Well, I think it was -- yeah and I  
22 also want to say, because again the silos are important.  
23 Every fuel is different and so I'm speaking to our fuel,  
24 and it is really important to look at each fuel type  
25 individually. But from ours, we're in a -- the reason the



1 CPIP was attractive is because of a couple of things.

2           From a framework basis we're in an industry where  
3 all of our competitors -- and there's lots of fuels coming  
4 into California from elsewhere -- all our competitors for  
5 the most part are producing in states that have had years  
6 and years of support for them. And so in that context how  
7 does California support its industry, because otherwise  
8 we'd be just importing everything and industries go up and  
9 down, so having a safety net essentially. So we looked at  
10 what other states did and made it better, I think, and less  
11 of a -- you know, we made it more of a performance-based.  
12 And there when you need it.

13           So I think conceptually, that's a good thing to  
14 look at. And but it wasn't -- if you look at CPIP versus  
15 what we're suggesting with this larger coalition the larger  
16 coalition concept is more performance-based, because you're  
17 actually going to be buying tons with the money. Whereas  
18 the CPIP, I mean it was inherent, but it wasn't explicit.  
19 So I think that approach that the Biofuels Initiative is  
20 taking is really a great approach.

21           COMMISSIONER SCOTT: Clark?

22           MR. WILLIAMS: Thanks, Tom. I don't have  
23 additional questions for your project.

24           COMMISSIONER SCOTT: Okay.

25           MR. KOEHLER: Thank you.

1           COMMISSIONER SCOTT: All right. So we have last,  
2 but certainly not least, Paul Relis who will speak to us.  
3 And for our time check, Paul, if you could have your  
4 presentation completed by about 11:50. And then we'll have  
5 the reviewers talk to you until about 12:10. That's what  
6 we will do there and I will let Tim introduce you.

7           MR. OLSON: So Paul Relis is Senior Vice  
8 President of the CR&R, it's a waste hauler in mostly  
9 Southern California, in California. And also previously  
10 was a appointed board member of the Integrated Waste  
11 Management Board, which is now known as CalRecycle.

12           And the project -- the Energy Commission funded  
13 the Phase 1 of what I call a regional biomethane production  
14 plan where they're using a few onsite, but also they're  
15 gathering waste from other cities. And CalRecycle is  
16 funding Phase 2 of that project and so Paul will tell us  
17 more about that.

18           MR. RELIS: Thanks everyone for hanging in here.  
19 And I'm going to -- Okay. Can you hear me okay?

20           COMMISSIONER SCOTT: Yes.

21           MR. RELIS: I'd like to start by just saying that  
22 Evan and Ms. Kennedy -- sorry I don't know your -- Susan  
23 provided one of the perspectives about our industry. We're  
24 also in the solid waste industry, but I'm going to talk  
25 about a different model and a different scale that is what

1 we presented to the CEC when we submitted our original  
2 proposal and to CalRecycle.

3 Ours is what I would call a regional model, a  
4 business model where we're dealing with minimal units of  
5 about 83,000 tons per year per phase. As opposed to say  
6 25,000 tons roughly, but still interfacing with  
7 municipalities and with truck fleets and the whole  
8 infrastructure that goes into our business.

9 Our business is deceptively -- I thought you made  
10 a great comment, Corrine, that it's a much more complex  
11 industry than people might think. You know, it's not just  
12 trash or organics now. We've have a complex world that we  
13 deal with and that was reflected in our proposal.

14 Yesterday, I talked about the issue of securing  
15 feedstock and offtake agreements. And I won't repeat that.  
16 I think we will demonstrate, in this presentation, that we  
17 have successfully navigated the first two phases of the  
18 feedstock challenge and that is a critical challenge.

19 I took the project through our permitting in the  
20 City of Perris. The City of Perris is a relatively small  
21 city, I think it's now about 70,000. I think when we  
22 started this project it was 50,000. It's in that fast-  
23 growing area of Southern California, or at least it was.  
24 And we had a spectacular experience with this small city in  
25 permitting our project and now in all four phases.

1           So I can't say enough about that, because ever as  
2 was suggested with South San Francisco, this has been a  
3 partnership with the city. They recognized at the outset  
4 that this was something that could be very important, not  
5 only as an employment economic base -- because Perris is a  
6 very poor city and we are a large employer in Perris. And  
7 that relationship couldn't have been better. And the fact  
8 that we have permitted the facility there, it being a  
9 regional facility -- we've essentially permitted many  
10 cities' facilities, because they're participating in this.

11           Unfortunately, like the other companies we're not  
12 operating yet. We're about three or four months from  
13 operation. I'd like to be able to give data on our gas and  
14 our digesting, but these are matters still to be developed  
15 and presented to you as the project moves from construction  
16 to completion and operation.

17           Just to underscore -- and I'll go through this is  
18 in a few minutes -- we're about 90 percent completed.  
19 We've been under construction for nearly two years now, it  
20 took a little longer than we thought. And we are in the  
21 sort of agonizing stage of the process controls. Our  
22 project will be largely automated, so in the sense that  
23 from the time the material comes in to the time it leaves  
24 it's fully enclosed. And it's mostly processed controls.  
25 And I'll elaborate in a few minutes on that.

1           So let me in the slide presentation suggest our  
2 project's at four phases, 335,000 tons capacity per year,  
3 in Perris, California, Riverside County.

4           Let's see, which is the forward here?

5           MR. OLSON: Your up is the arrow.

6           (Colloquy regarding slide setup)

7           MR. RELIS: I'll bypass the little promotion that  
8 -- essentially what you're going to see is the kind of  
9 presentation that we give to the cities that are our  
10 clients and that are critical to the whole performance of  
11 this project.

12           So let's start with the infrastructure of the  
13 company. We have 50 municipal contracts and 12 processing  
14 contracts. A municipal contract is like what Evan -- a  
15 franchise agreement -- may range from five years to  
16 evergreen. Evergreen means they're open-ended. We have 12  
17 processing contracts where other companies use our  
18 facilities to process material.

19           We have about 900 trucks in our system, 1,500  
20 employees. We serve over 2.5 million customers. We have  
21 10 solid waste service centers, 5 transfer stations, MRFs.  
22 We have 2 landfills in Arizona and 12 of a company called  
23 Holloway, which is a container company.

24           We are a 50-year old company, so we're not 100  
25 years old, but we're semi. We have extensive experience in

1 all facets of waste management. And I need to underscore  
2 that. Projects are conceived, in some cases without that  
3 underbelly of experience. And that's hazardous in this  
4 business. It's a challenge enough -- I liken moving from  
5 the old waste industry to AD and all the related parts --  
6 that's almost like rocket science for this industry. It's  
7 a big step.

8           We've been a leader in innovation and technology.  
9 We introduced the three-automated cart system in  
10 California. We were the first to build a mixed-waste  
11 processing facility, a so-called MRF. We were the first to  
12 employ large-scale application of biofilter in a transfer  
13 station environment to control odors, which someone  
14 mentioned is a big deal in our industry -- odor control.

15           We have an experienced and qualified management  
16 team. And we have a remarkable record of municipal  
17 contract retention, all of it.

18           So just a quick thumbnail from the waste world,  
19 and I used to regulate this world and now I'm part of the  
20 regulated. This is the world we were in, in the '70s --  
21 pretty simple: trash bags and cans and landfills.

22           Then we hit the '80s and in the late '80s, as  
23 Evan mentioned, we went from that simple system to the  
24 recycling, the embryonic recycling efforts, and now you see  
25 on the right-hand side the recyclables.

1           In the '90s we evolved further and we started to  
2 build material recovery facilities, sophisticated by our  
3 history, but nothing compared to anaerobic digestion. And  
4 then we introduced the three automated containers, sort of  
5 the normal platform for waste services in California.

6           And now here we are, around the decade of 2010 to  
7 2020, so we see the Material Recovery Facility. And now we  
8 introduce this whole new compartment called anaerobic  
9 digestion. We still have those three cans, but look at the  
10 -- we just only have that top picture. Then we added the  
11 recyclables. Then we added fuel to compress natural gas  
12 initially and now renewable natural gas. And then we'll be  
13 at fertilizers, some soils in fertilizers. We hope to be  
14 in the fertilizer business just we're not prepared to  
15 elaborate on that yet, because we haven't produced strong  
16 material.

17           So let's just step back and we take this quote.  
18 This is a favorite of my colleague at CR&R, Mike Silva, who  
19 is our Project Manager. He went to Stanford, so he likes  
20 to tout this: "Supplying energy to a growing world  
21 population while reducing greenhouse gas emissions is one  
22 of the great challenges that we humans must face this  
23 century." And no one know that better than the State of  
24 California with its leadership.

25           Now, we've talked about the team. Various people

1 have mentioned how important a team is to project success  
2 and I couldn't underscore that more. We think we've got an  
3 A team. We're using a anaerobic digestion technology from  
4 Eisenmann Germany which has about 80 digesters, mostly  
5 smaller, much smaller. Ours will beat their largest  
6 digester in (indiscernible), our digester system.

7 We have Greenlane providing the biogas upgrading  
8 technology to clean up that biogas to produce fuel. We are  
9 very fortunate to have, as our primary contractor, Lyles  
10 Construction, primarily based in Fresno but with offices  
11 throughout California -- very experienced in wastewater  
12 construction, heavy concrete, the kind of stuff that our  
13 project requires.

14 And our Project Engineer is JR Miller and  
15 Associates based in Bueno Park with 50 years almost of  
16 experience in design, development of MRFs and transfer  
17 stations. And they've been with our company as a  
18 subcontractor to our company for over 30 years.

19 So we have an excellent team. That team has been  
20 tested now by two years of having to be around each other  
21 in trying to pull this off.

22 So let me just give you a brief overview. We  
23 will convert all the organic waste we receive into  
24 fertilizer soil products and renewable natural gas. Unlike  
25 Evan's program we do intend to enter the natural gas grid.



1 That's very important to the growth and replication at  
2 least of our model.

3           And so we are engaged, at present, with the gas  
4 company to achieve that interconnect in the shortest  
5 possible time. I can't give you a deadline on that as it's  
6 subject to some of the difficulties of gaining access to  
7 the grid. And that's a whole subject in itself and I would  
8 hope that Air Board and the Energy Commission and  
9 CalRecycle will lend what weight you can to overcoming some  
10 of the barriers there.

11           The program keeps all the cities that we serve  
12 organics out of landfill. Methane, we know that story, I  
13 won't repeat that 26 times, more damaging than CO2 and then  
14 the short-lived climate change impacts. We know that  
15 renewable natural gas is the cleanest fuel and we're really  
16 just replicating nature with our AD system. It's just a  
17 giant artificial stomach, but that's a deceptively simple  
18 comment.

19           Our process will run 24/7, 365 days a year, and  
20 we want to I guess pick up on the fact that we become a  
21 permanent renewable energy source. We're not intermittent  
22 like solar and wind, nothing against solar and wind, but we  
23 have a special niche. And we would like that more  
24 recognized by the Air Board and all the Energy Commission  
25 that we contribute something special to the renewable

1 energy portfolio.

2           Our process provides maximum flexibility. Some  
3 of you have been to our site and have seen the equipment.  
4 We basically have four digesters in one unit and what this  
5 allows, and why we pick the company, is we can operate  
6 mesophilically, thermophilically. Up to four different  
7 mixes in temperatures can be run simultaneously. And  
8 Eisenmann is the source for that experience in its  
9 programming the facility to be able to do that very thing.

10           We're not -- I'll just jump ahead, one's a little  
11 bit of a promotion, so I want to stay away from any  
12 promotion. Our process is fully enclosed with zero  
13 untreated emissions and we think we have one of the higher  
14 conversion rates in the industry due to the design in  
15 controls.

16           We'll handle 335,000 tons a year in four phases,  
17 4 million gallons of DGE of renewable natural gas, and  
18 we'll create about 260,000 tons of organic soil amendments.  
19 The plant will use recycled water from the local wastewater  
20 treatment plants located in the top two miles as the crow  
21 flies. I think that line is under construction now.

22           I won't walk through this, this is just basically  
23 the flow chart for the facility. It wouldn't look much  
24 different than the project in South San Francisco in terms  
25 of flow chart. They're different technologies employed.

1           So here's what it looks like, a full build-out of  
2 the four phases. Do we have a pointer here, is there? Oh,  
3 I don't it. Let me take a moment and just -- (refers to  
4 chart in presentation) The waste comes in: green waste,  
5 food waste, so are separated. And it goes in this building  
6 closest to me at the edge. That's an acre (phonetic)  
7 building, it's just about completed now. And that's where  
8 we do all the cleanup even though we --

9           COMMISSIONER SCOTT: Hey, Paul? Let me ask if  
10 you can -- can we have the cursor pulled out? That way the  
11 people who are participating by WebEx might be able to see  
12 what you're pointing to. Will that work for you?

13           MR. RELIS: Oh, yeah.

14           This building, actually the lower third, the  
15 third closest to me right there, that's built now. That's  
16 our receiving building. The material comes by conveyor  
17 into bunkers. This shows four fully developed digesters,  
18 so right now the first one -- right there yeah -- that's  
19 all calibrated and weight controlled and it's fed to the  
20 digester continuously 24/7 as Eisenmann determines. And  
21 don't ask me to please detail what Eisenmann's knowledge  
22 is. I'll beg off and I'll find that for you and present it  
23 to you.

24           But essentially, we replicate. And so we achieve  
25 -- in one of our statements when we conceived our projects

1 was that we were going to win in economies of scale. So  
2 what have we done to do that? Well, first that separation  
3 building is several million dollars and the cleanup system,  
4 that works for all four phases. So what's been put in  
5 works for all four phases.

6 The gas cleanup system over there right, that  
7 shows a unit we invested in Phase 1 and Phase 2. So the  
8 gas cleanup system in Phase 1 also goes to Phase 2. So we  
9 sunk those spots into Phase 1 and we sunk the compressors  
10 for the fueling station into Phase 1 as well. So Phase 1  
11 is really Phase 1 and Phase 2.

12 And Phase 2, that one, we've poured the  
13 foundations for that unit just a week or two ago. And so  
14 that's well underway and the equipment that comes from  
15 Germany is on order.

16 Okay. I won't repeat the benefits of RNG, or the  
17 soil products. We think that while composting is great --  
18 and I learned this in my visit to Sweden about seven years  
19 ago -- is that they decided they wanted to get the energy  
20 content out of organic waste. And when I saw it at work in  
21 Sweden I went, "Yeah, that's the way to go. Why didn't we  
22 think of that and they were already far along. So that  
23 visit was one of our real sources of inspiration.

24 Okay. Economic drivers, and this is at the core  
25 of our architecture of our project. The cities that sign

1 up first with grant funds from the CEC and from CalRecycle,  
2 they get the benefit of a most favored nation rate. And we  
3 made that very clear to them. If you want the best rate --  
4 you'll have to do it anyway, but if you want the best rate  
5 go now ahead of the curve of being mandated. And I'll  
6 elaborate on that.

7           Using our project provides the city with a  
8 sustainable disposal option, which will provide many  
9 environmental benefits and long-term even fuel pricing  
10 stability, which right now doesn't look so great. But we  
11 don't know -- no one knows, but once you produce this fuel  
12 it's a fixed cost. So that's not to be sneezed at.

13           So we'll have relatively constant reducing fuel  
14 costs. They won't see the kind of spike when that's in the  
15 PULA Program (phonetic) if fuel spikes were allowed to pass  
16 that on and through to the cities. And we shouldn't be  
17 seeing the fuel spike.

18           And we use the existing infrastructure. We have  
19 the cans, we have the scales, we have the trucks, we have  
20 all of that. we're not altering the trucks. All we're  
21 altering is the fuel that goes in the trucks and that's  
22 really important. That investment is made as part of the  
23 AB 9 and 39 era work.

24           Okay. We all have heard the galaxy of policies  
25 and laws that are helping drive our industry, which has

1 been critical to selling the system to our cities. They  
2 want to know if they invest in this how will it enable them  
3 to comply with current and future law including AQMD, our  
4 air quality standards in the South Coast, which are  
5 extremely challenging.

6           Okay. These are all the galaxy of incentives.  
7 The bills, carbon credits, excise and sales tax rebates at  
8 the state program that allows us to get a break on  
9 equipment that is manufactured here in California from  
10 being subject to the sales tax. The equipment that arrives  
11 from Germany doesn't get that break.

12           The low carbon fuel standard, (knocking) I guess  
13 I heard someone knock on wood, I'll knock on wood again  
14 that that moves forward next week. RIN credits, and now  
15 here's where you -- the CEC grant for us -- 4.52 million.  
16 Today I believe we got an AQMD grant for 900,000 which will  
17 allow us to test the two new engines that I referred to  
18 yesterday. And we thank CalRecycle for recently awarding a  
19 \$3 million grant for Phase 2. That's why we're under  
20 construction. Neither phase would be under construction  
21 were those grants were those grants not available to us.

22           I don't need to repeat Evan did a very thorough  
23 job on the carbon intensity. We're like him, so we'll  
24 piggyback on all of that.

25           I'd like to just give you why the organics

1 management system involving AD is so superior in my view.  
2 If you look at landfilling you get about 75 percent energy  
3 recovery maybe. I'm never sure what that number is, 75  
4 percent emissions capture, no nutrient recovery, no  
5 renewable. Well, there might be in some cases recovery in  
6 a landfill.

7 Composting, 100 percent nutrient recovery, but no  
8 energy recovery. And now you look at AD, we kind of I  
9 think are in the sweet spot of a complete recycling system.  
10 And as Evan pointed out an important, this is a home-grown  
11 system. This isn't one where we're shipping 8,000 miles  
12 our commodities to China and what happens if they stop  
13 buying. And this should be an extremely durable homegrown  
14 recycling system that should survive long term.

15 Okay. In summary, we set out in our project  
16 objective, to build a regional model and to demonstrate to  
17 the Energy Commission, to CalRecycle, that we were capable  
18 of pulling this off. I can't say that we knew everything  
19 about doing this, we're on the firing line, on the cutting  
20 edge. A few before us, but of our scale very, very few and  
21 in order to test that assumption our ultimate test is what  
22 do our clients say, our cities? Do they want to sign up or  
23 are they still treading water and just going, "Well, good  
24 luck. And come do us later."

25 We have six cities signed up now for a capacity

1 of over 200 -- well about 300 tons a day and by the end of  
2 the year we expect 400 tons, probably another four or five  
3 cities. Most of those will be in Riverside County  
4 initially.

5           And an interesting observation, these are not  
6 cities that you would normally associate with being  
7 ultimately green. Their councils are pretty conservative  
8 and Riverside County is conservative, Orange County is  
9 conservative. Our first city was Costa Mesa, a  
10 conservative city, why did they do this? Why would they  
11 spend money (indiscernible) when they needed to?

12           I think that in sum, the whole story is cool.  
13 It's just a cool story. You take your banana and the "Back  
14 To The Future" -- it's close to that, it's whimsical almost  
15 sounding, but it's true. We're really taking the stuff you  
16 throw away, your organic -- the ick factor of most solid  
17 waste -- and now you get it back as trucks running in your  
18 community that are super green.

19           And if we're right and the Energy Commission, I  
20 know, is involved with the 118 Program, with the AQMD, and  
21 now we're embedded with the AQMD to test these two  
22 vehicles. We may just -- may just, I can't say for sure --  
23 we may be on the edge of a breakthrough in the heavy duty  
24 sector in terms of helping AQMD meet its zero emission  
25 requirement.



1           If we do, and we come back in a forum like this  
2 hopefully there will be the Air Board and AQMD and the  
3 Energy Commission and we'll have a love fest if that were  
4 to happen. But it's a little too early to say, so I think  
5 I'm almost on time. You wanted me to leave ten minutes for  
6 questions?

7           COMMISSIONER SCOTT: Or maybe 15 or so for the  
8 reviewers.

9           MR. RELIS: Okay. And I'll do my best to answer,  
10 but I'm more architecture guy, the policy, the development  
11 of the system. Not all the fuels, details and so I'll do  
12 the best I can.

13           COMMISSIONER SCOTT: Okay.

14           MR. RELIS: If I'm in doubt, I'll refer you.

15           COMMISSIONER SCOTT: Thank you very much, Paul.

16           So let's turn to our reviewers. Are we starting  
17 with Clark this time? Yes, go ahead, Clark.

18           MR. WILLIAMS: Thanks Paul, a great presentation.  
19 Obviously we're really excited to see where you're at a few  
20 months from now when the plant's operational.

21           Evan had discussed earlier, that in working with  
22 their clients they're projecting kind of a zero value right  
23 now for RINs and LCFS credits. And I got the impression  
24 from your talk that maybe your company's viewing RINs and  
25 LCFS credits a little differently. So I was hoping you

1 could address to how you're viewing the value of those?

2 MR. RELIS: Well, we have a specialist is that  
3 hold area. We have a specialist who is handling our LCFS  
4 credit side. And we have put in our model, but we did not  
5 predicate that this wasn't a survival issue. If we didn't  
6 get them, it would be painful, but not fatal. I guess that  
7 would be the way I'd answer that.

8 MR. WILLIAMS: Have the cities expressed an  
9 interest through your contracts with them, in having their  
10 rates reduced if you are able to generate values through  
11 those or are they --

12 MR. RELIS: Okay. That's a good question. We  
13 laid everything out on table in terms of RIN credits, if  
14 possible LCFS. And what we arrived at through -- and each  
15 negotiation was very different, but basically we said,  
16 "Look, here's the value of the gas. Here's the potential  
17 value of the credits. Here's the digestate side." We  
18 zeroed that, we didn't put value there in terms of monetary  
19 income. It wasn't a negative, but it wasn't a positive.

20 And we arrived at a rate, which they saw all  
21 these factors, both the ones that were certain and the ones  
22 that weren't. And we basically come into a rate of  
23 somewhere between the high 1s, 190-something to the 250 per  
24 household range. Which may not seem like much to you and I  
25 made this point yesterday, but if we went without a green

1 project like this to the city and said, "Yeah, it's just  
2 two bucks," we'd probably lose our franchise. I would  
3 quickly report back that our perfect record would be  
4 blemished, by the way.

5           So that's a big deal to get a \$2 increase per  
6 household, but I think part of the strength was not only  
7 have most of the councils of those 50 cities seen our  
8 project and their public works directors and all the people  
9 that are involved in the decision-making machinery, they've  
10 all been to the facility. And they've been inspired by it,  
11 by the story.

12           And the fact, which I underscored yesterday, is  
13 that we have a long working relationship with these cities.  
14 So it would be very damaging to our reputation if there was  
15 a big gap between what we say we'll do and what we actually  
16 do, were to emerge. So we're not going to risk that  
17 reputation, sorry.

18           Now, having said that we haven't operated yet, so  
19 like everyone else I'm sure we're going to go through our  
20 hiccups. So I'm anxious to, I guess, find out what those  
21 are and get through that phase.

22           MR. WILLIAMS: One last question on the digestate  
23 is it sounds like you're working on developing evaluated  
24 fertilizer-type products and associated markets for that,  
25 but out of gate what's your plans for that material while

1 you're doing the market (indiscernible)

2 MR. RELIS: Well, we're going for compost, we  
3 have a couple of small facilities, and we may land-apply  
4 some. We have a specialist on our staff now who is  
5 dedicated to marketing of the digestate. But we're not  
6 producing product yet, that's the -- it's difficult to tell  
7 you exactly what we'll do without the parties seeing the  
8 product.

9 COMMISSIONER SCOTT: Okay. Sam?

10 MR. WADE: Thanks, Paul. So because you guys  
11 aren't operating yet I'm just curious about what sort of  
12 performance bonds you guys might've put on your contractors  
13 or technology in firms that you worked with, if any,  
14 because Harry touched on that.

15 MR. RELIS: You know we -- that's a good  
16 question. We don't really have -- we have contractual --  
17 okay, let me step back. Isomet, (phonetic) a key part --  
18 the core technology providers, a \$1 billion company. So  
19 the performance guarantees are tied into the strength of  
20 that company. You can have a performance guarantee with a  
21 weak company and try and collect.

22 So both Eisenmann, which has a operational base  
23 in Chicago, in the U.S. for 10 or 15 years, we chose them,  
24 because they're essentially a pretty high-tech company.  
25 The AD Division of the company is a subset of codings.

1 They produce a lot of the equipment for the auto industry  
2 in terms of spray paint, that robotic type stuff. So they  
3 have heft as far as their balance sheet.

4 So I don't think we have a performance bond per  
5 se, but we have performance standards that both they and  
6 Greenlane must meet. And if they don't we have recourse  
7 through the company, that's our basic performance bond,  
8 functional equivalent I guess.

9 MR. WADE: And you hit on how you sort of soloed  
10 the fuel price stability aspect of this type of fuel and I  
11 think that's something we'd like to emphasize in LCFS as  
12 well when we talk about these sorts of projects. And I'm  
13 just wondering, you know, how valuable was that perceived?

14 MR. RELIS: I think it was less valuable than the  
15 Green Fleet. I think if you're looking at city councils  
16 and elected officials what do they want to deliver? They  
17 want to be able to deliver a quality of life and that's  
18 more important, as my perception in the selling of the  
19 project, than the fuel stability. Especially at a time  
20 when fuel rates are low, so it's kind of like wow, great  
21 story.

22 MR. WADE: Right, I was wondering if that  
23 switched at all as you saw the decline of oil prices. If  
24 suddenly you stopped talking about it as much or --

25 MR. RELIS: Well, I'd have to go to Mike Silva

1 who's our front -- or we have three people in the company  
2 that are marketing the project. I'm not involved in that  
3 now, I was in the early days.

4 MR. WADE: Okay. And the last thing was just to  
5 encourage you folks to come in and talk to us directly to  
6 get your own CI score in the near future. And  
7 (indiscernible) talking about these types of projects,  
8 so...

9 MR. RELIS: Oh, okay. And do you know Cynthia?

10 MR. WADE: Uh-huh.

11 MR. RELIS: Yeah, okay. Well, she'll be the one.

12 MR. WADE: Okay. Thanks.

13 MR. KAFFKA: Hi, Paul. As always a great  
14 presentation and I just want to say, for the sake of the  
15 record in my opinion, that there's sometimes criticism  
16 about how government works. But I think that the CEC can  
17 be proud of its process here of having identified and  
18 supported these kinds of projects, which are all very  
19 admirable --

20 COMMISSIONER SCOTT: Thank you.

21 MR. KAFFKA: -- and I think are very optimistic.

22 Paul, one of the things that -- I had a chance to  
23 visit this project a few months ago and it was really very  
24 impressive to see. I'm very interested in feedstock  
25 issues, so your feedstocks are largely green waste as I

1 understand?

2 MR. RELIS: Green and food, but initially  
3 primarily green. I mean, with the green can food portion.

4 MR. KAFFKA: Yeah, just anecdotally in my  
5 neighborhood, I haven't had a lawn for 20 years, which  
6 (indiscernible) but I'm noticing that most of my neighbors  
7 are kind of following this example this year. So some of  
8 that yard waste generation may change --

9 MR. RELIS: It'll probably crash.

10 MR. KAFFKA: -- in the future and I suppose that  
11 all of the waste-handling companies have thought about  
12 this. Is that a critical problem for you potentially or  
13 have (indiscernible) --

14 MR. RELIS: Well, it's a really important  
15 question. And it's one that until this year we really  
16 didn't have to raise, you know? So it shows again, I guess  
17 all of us deal with a dynamic world.

18 So what happens, I mean you could say worst case  
19 everybody's lawn goes away in California permanently.  
20 Well, we're not ready to quite go there, so we might have  
21 to scale back on Phase 4 maybe if that were really -- if we  
22 don't get any rain this winter or next -- I don't even know  
23 how to answer that question. We're all going to be  
24 scratching heads about everything, you know?

25 But on the assumption that this is we're entering

1 a different phase where lawns may not be as prevalent, then  
2 that's a factor on our feedstock. So we're obviously  
3 mindful of that. We're measuring the drop. So far it  
4 hasn't been very large. I can't tell you the exact tonnage  
5 drop, but I have that question to our team. Yes, it's  
6 important.

7 MR. KAFFKA: Is source-separated food waste part  
8 of your calculations?

9 MR. RELIS: Absolutely, we're really -- the  
10 reason we started with the residential mix of mostly green  
11 with food is that that infrastructure is already in place.  
12 The going out to get the commercial food, that's the next  
13 phase on your 1826. That's a more expensive  
14 infrastructure. Right now we don't have to alter the  
15 infrastructure at all, so that was the entry point. And  
16 Eisenmann had experience with bringing in comminute. So  
17 that's partly what sold us on their system.

18 MR. KAFFKA: Yeah. Well, I guess the last  
19 question, you can have a very substantial amount of  
20 digestate, and Perris is a great location, you know, but  
21 it's far from any large area where you might land  
22 application. In other words you'd have to go over the  
23 mountains to Coachella Valley or someplace like that.

24 So to what degree do you see upgraded products  
25 being potentially a part of your future and maybe even



1 necessary for your success?

2 MR. RELIS: Well, I think personally when I was a  
3 board member of the Waste Board composting was my focus.  
4 Evan knows that, I mean we worked on a lot of things  
5 together. And I think that this is where you come in, and  
6 the UC system. And I think we've got to take this to a  
7 quality level. That we haven't seen the energy focused on  
8 that market development side, I think take this to  
9 fertilizer.

10 How to do that's beyond my capability, but we've  
11 had a lot of internal talks. And like Evan we're spending  
12 a lot of money on the cleanup. Even though we call it  
13 source separated anyone knows, who's familiar with source  
14 separated, people still toss a lot of stuff in there that  
15 shouldn't be there. And that's going to be an ongoing  
16 educational issue, but we know that unless we start with  
17 the highest quality we can get to -- and we're putting a  
18 million dollars just on that green sorting line -- then our  
19 prospects of achieving the long-term high market are  
20 limited.

21 So we want to get to the organic market and we  
22 think, based on our talks with OMRI -- is it OMRI?

23 MR. EDGAR: It's TFA. (phonetic)

24 MR. RELIS: Is as long as the feedstock is source  
25 separated and is queen in size, we should be able to get

1 there. And that would be a nice niche to be able to  
2 achieve, but I think this is definitely going to be a work  
3 in progress, this market side. And I think it's all hands  
4 on deck for that phase.

5 MS. DRENNAN: I echo Stephen's comment in  
6 commending the CEC on the quality and diversity of projects  
7 that we've seen today. And I also commend the project  
8 teams on the execution thereof. I'm very much impressed.

9 I do have a couple of questions about your system  
10 with Eisenmann. How large are their systems in Europe?

11 MR. RELIS: Well, all I know are that most are  
12 agricultural scale. The exact tonnage, I'll get back to  
13 you with their whole range. I'll give you the whole gamut.

14 MS. DRENNAN: Thank you. That would be  
15 interesting.

16 MR. RELIS: But I can't answer that.

17 MS. DRENNAN: That's okay.

18 MR. RELIS: I know that we're the largest.

19 MS. DRENNAN: Yeah, that's what I figured. It  
20 seems that many of these unit operations are actually  
21 modular, which lends themselves to the distributability.  
22 And I'm a huge advocate of that. So I was wondering apart  
23 from the one that Stephen already identified with the  
24 digestate, what are the other potential disadvantages or  
25 barriers that you're going to come up with in the future?

1 MR. RELIS: Meaning what?

2 MS. DRENNAN: So the very large scale that you're  
3 at, are there any other foreseeable barriers or challenges?

4 MR. RELIS: Well, barriers? I suppose with green  
5 waste limits, we would not be able to achieve the build out  
6 that we thought. It would limit somewhat the production  
7 levels we're proposing. But on the other hand, I know  
8 we're working with the City of Los Angeles and they're  
9 looking very much forward to seeing how we perform, because  
10 they like to build a complex or a series. They have  
11 800,000 tons a year of green waste separate from the food.

12 And so you're looking at scale, definitely. That  
13 would be almost three times our four-phase project scale.  
14 So we hope in the course of demonstrating our performance  
15 that this will be a demonstration of a large urban scale  
16 system even though many of the cities we serve are, like  
17 Evan's, they're smaller cities.

18 I don't know if that answers your question.

19 MS. DRENNAN: No, it does. Thank you for the  
20 insights and I wish all of you very much success. Thank  
21 you.

22 COMMISSIONER SCOTT: Thank you, so very much.

23 So I just want to remind folks, we're about to  
24 turn to the public comment if you'd like to make a comment.  
25 Thank you. Please, be sure to fill out a blue card and get

1 over to Tim, so that I'll know that you're there. We have  
2 about six folks.

3 I just wanted to do a quick summary. Summary's  
4 too strong of a word, but just some key things that I  
5 heard. And I think I heard at least two of you, but maybe  
6 all five of you say, as we went along -- and one of the  
7 things that we highlighted was the importance of state  
8 programs whether those were the incentives or the LCFS and  
9 thinking about the best forums for those, thinking about  
10 the best ways to implement those in order to continue to  
11 grow this industry.

12 We talked about -- and I'm kind of jumping around  
13 -- the importance of having a cushion when you think about  
14 the budget, because especially when we're at the beginning  
15 phases of these. So these might not be the very first  
16 project, but they may be number two or number three, but  
17 you need a little bit of a cushion in your budget to make  
18 sure that you can continue to go forward. And that we get  
19 the projects across the finish line and actually up and  
20 running and producing the fuel, which is where we all want  
21 to be.

22 We heard that experience in the industry really  
23 matters if you want to have a strong project team.

24 We talked a little bit about the difficulty of  
25 gaining access to the grid or to the pipeline for these

1 projects.

2           We highlighted that there are places where we  
3 would prefer to be the second or the third in the industry  
4 and not the first person. We talked about wanting to be  
5 proactive in this space, and working in partnerships,  
6 proactive in working with the cities, proactive in working  
7 with farmers, proactive in working with your neighbors and  
8 the neighborhoods that you're in as we're working on these  
9 projects.

10           We talked about working in a dynamic world. And  
11 Harry mentioned this in his project and Stephen and Paul  
12 talked about it a little bit. And we talked about oh gosh,  
13 there's the drought and now there's not as much yard waste  
14 as we might've anticipated coming in. And just being able  
15 to be -- I don't know or nimble or flexible is quite the  
16 right way -- but able to move as circumstances in the world  
17 change a little bit.

18           And then I will just wrap up the summary with  
19 something that Paul said in his remarks, which is this  
20 story is cool. This is a cool story and it's good for us  
21 to tell and to be able to bring forward.

22           And so with that, I want to say thank you to our  
23 Energy Commission staff, who work really hard each day on  
24 these biofuels and biogas projects. I want to thank all of  
25 you, Harry and Susan and Evan and Paul and Tom for putting

1 your projects under the microscope here for us today, so  
2 that we all have a chance to learn how we can continue to  
3 successfully move the industry forward. So I appreciate  
4 the time that you took to come here and to do that. And to  
5 be under the microscope a little bit today.

6 And I want to say thank you also to our  
7 reviewers, to Clark and to Sam and to Stephen and to  
8 Corinne for taking the time to really dig into the details  
9 of these projects. And bring forward your thoughtful  
10 questions to our project developers today. I think it's  
11 really -- your insights here and expertise are really  
12 helpful and very important for us.

13 I would look forward to gaining additional  
14 information through our comment process. And so that goes  
15 up on the board. We'll put it up again. I know that there  
16 might be a lot of detail, if there is please feel free to  
17 put it in writing and submit it to our docket.

18 And before I turn to the public comments that I  
19 have here in my hand, I just want to say thank you again,  
20 so much to Tim Olson for putting this together. I mean,  
21 this has been fantastic and we could not have done it  
22 without his leadership. So thank you so much, Tim.

23 (Applause.)

24 COMMISSIONER SCOTT: Okay. And with that I think  
25 we're going to go with the three-minute public comment

1 limit, just because I have quite a few and I want to try to  
2 keep -- in case folks have flights and things that they  
3 need to make -- I want to try to stay close to time.

4 So I have first, Paul Gruber from ITS Davis. And  
5 if you would come up to the microphone that's right here in  
6 the middle that'd be great.

7 And following Paul will be Julia Levin.

8 MR. GRUBER: Okay. Thanks, Janea. Thanks, guest  
9 speakers and reviewers.

10 A quick comment first, so yesterday's workshop's  
11 been mentioned a number of times and most everybody in the  
12 room, I think, either intended or was invited. But perhaps  
13 folks in the room and a few on WebEx were in the dark about  
14 that, so I just want it to be clear.

15 This was a project that's sponsored by the CEC,  
16 UC Davis is leading it. Oh, by the way I'm Paul Gruber,  
17 Executive Director of the STEPS Program at the Institute of  
18 Transportation Studies at UC Davis. So my team and I lead  
19 this project. We're charged by the Commissioner to host  
20 stakeholder workshops to look at emerging technologies and  
21 commercialization barriers to those technologies in the  
22 alternative fuel and vehicle space.

23 So if you have interest and you are a stakeholder  
24 engaged in emerging technology commercialization and  
25 development I encourage you to reach out to me. And at the

1 risk of receiving lots of emails, it's a risk I'm willing  
2 to take. So just Google me, Paul Gruber at UC Davis, I  
3 think you'll find me fairly rapidly and I can submit my  
4 email to the official record if needed.

5 And the next workshops we'll be hosting are on  
6 medium and heavy-duty conversion technologies and ZEVs. So  
7 that could be of interest to folks here in the room and  
8 online.

9 And then my question, it's a fairly open one.  
10 I'm going to -- you know, with the time permitted I'm just  
11 going to sort of submit it and see if we have responses  
12 here today. So I'm very fascinated by Harry's comments and  
13 Steve Kaffka and others addressed this on the  
14 productiveness, the performance of the ARFTVP program  
15 dollars.

16 So my question is -- and this is for CEC  
17 colleagues and the guest speakers and reviewers -- where  
18 does the ARFVTP funding for bio energy projects fit in the  
19 overall landscape of funding within the State from the ARB  
20 and from private entities and other pots of money? And is  
21 there an opportunity really for CEC to adjust its mission  
22 in use of ARFVTP dollars? Is there a receptiveness to  
23 that? Is the CEC open to it and is it feasible to adjust,  
24 to ensure that you are getting the best bang for your buck  
25 for those dollars?



1           And I will admit Steve addressed this. The  
2 Advisory Committee is debating this issue quite a lot, so  
3 my question is, is it feasible? Do you have room to adapt  
4 and to change the mission somewhat?

5           COMMISSIONER SCOTT: Sure and I think that in  
6 brief answer to that question, we are always thinking  
7 through how best to spend the dollars that Legislature has  
8 allocated to us with the Alternative Renewable Fuel and  
9 Vehicle Technology Program.

10           The Legislature, you know, has also directed us  
11 to put into a broad portfolio of projects. And that's why  
12 you see kind of the broad spread that the program typically  
13 has. But as you identified the Advisory Committee as a  
14 great place to engage with us as we continue forward on  
15 that discussion. I think we will --. the next meeting of  
16 it will be in early November. And it will, of course, be  
17 publicly noticed like all of our meetings are.

18           So let's go next to Julia Levin. And after Julia  
19 is David Rubenstein.

20           MS. LEVIN: So thank you, Commissioner. And  
21 thank you to the staff. I think this is absolutely a model  
22 program. It's fantastic that you take a portfolio-based  
23 approach instead of picking technology winners and losers.  
24 And I think it's great to see the Air Board and CalRecycle  
25 here and the interagency effort, which is so critical to

1 maximize the benefits of this program.

2           And I too want to thank staff who are unusually  
3 accessible and thoughtful and really constructive in making  
4 this program as important as it has been. And I think will  
5 continue to be.

6           Having said that, no good deed goes unpunished, a  
7 couple of recommendations actually more for the Air Board  
8 and CalRecycle, but I really do want to thank you for  
9 showing up. Having said that, Sam, for the Air Board I  
10 think the elephant in room is Cap and Trade funding. This  
11 is a hugely important program. I think the Energy  
12 Commission, with your help, your agency's help, is  
13 maximizing the benefits. But it's chump change compared to  
14 the Greenhouse Gas Reduction Funds.

15           And if we really want to meet the goals of low-  
16 carbon fuel standard -- and if we really want to provide a  
17 lot of benefit to disadvantaged communities -- we have to  
18 put some of the GGRF low-carbon transportation funding into  
19 lowest carbon transportation, which is what these guys are  
20 producing. That's critical.

21           Second, at the workshop yesterday a very common  
22 theme was the need for more long-term certainty. And while  
23 I think some people meant that on a regulatory side I would  
24 say it's even more important on the contract side. And  
25 speaking just for biogas, 99.9 percent of the biogas that

1 is used in California, that's produced and used in  
2 California, is used for electricity. And there's really  
3 only one reason why it's all going to electricity,  
4 virtually all and that is because they are 10, 15 and 20-  
5 year contracts under the RPS.

6 We need to provide comparable long-term certainty  
7 and market guarantees on the transportation side to put  
8 biogas to what is certainly a higher and better use in  
9 terms of greenhouse gas and air pollution reduction. So  
10 that's something that I really hope the LCFS program going  
11 forward has, because I'm not going to knock on wood. I'm  
12 confident and certain it's going to move forward and we're  
13 all going to give it that push next week.

14 Clark, I also have two kind of similar  
15 recommendations for CalRecycle. And again, I'm confident  
16 we're going to get you lots of money, hopefully lots more  
17 than you got this year. I think yours is one of the most  
18 important and quantifiable programs under the GGRF to  
19 divert organic waste away from landfills.

20 But two quick recommendations, the first  
21 similarly to be technology neutral -- there's no reason to  
22 limit the funding to anaerobic digestion. A large part of  
23 the organic waste going to landfills meets other conversion  
24 technologies like gasification and pyrolysis.

25 But the second part is you're required to

1 maximize greenhouse gas reductions and other benefits. And  
2 you can do that much more by not choosing between energy  
3 and compost, but funding projects that do both. Like  
4 Paul's, like Evan's, South San Francisco, sorry. We should  
5 look into projects that can do both and any bioenergy  
6 project can do both, because they're going to produce  
7 either digestate or biosolids or biochar that then become  
8 the organic soil. And that's the way to truly maximize  
9 greenhouse gas reduction.

10 So I thank you all. This is just such a positive  
11 accomplishment on behalf of the State. So thank you.

12 COMMISSIONER SCOTT: Thank you very much, Julia.

13 And I was remiss in thanking Paul also and UC  
14 Davis and NextSTEPS for their partnership on working on  
15 this.

16 David Rubenstein, and then Evan Williams.

17 MR. RUBENSTEIN: I thank you very much,  
18 Commissioner Scott, CEC staff, panel attendees. My  
19 comments are centered on our company, to use as an example,  
20 because I'm sure there's other companies like ours that are  
21 going through the same development processes that some of  
22 my comments will help too.

23 So in our case, what we're trying to do is  
24 sugarcane and sweet sorghum to ethanol here in California.  
25 We're bringing a reliable crop to the Imperial Valley.

1 It's sustainable, it's profitable to the farmers. We have  
2 addressed the water issues, so that comes up every single  
3 day. Commercial scale project, 66 million gallons a year  
4 of extremely low-carbon ethanol, we think it's sub-20.

5 We've already worked out with Lifecycle  
6 Associates, 50 megawatts of renewable electricity, 36 going  
7 to the grid baseload. And up to a billion cubic feet of  
8 anaerobic digestion biogas, which would make us one of the  
9 largest in the state. Not to mention 300 new jobs in  
10 Imperial County, which has an extremely high unemployment  
11 rate. We signed long-term agreements with Shell, 15 years  
12 for ethanol, 10 years on the biogas and electricity.

13 The funding? All friends and family, no venture  
14 capital, so we have a lot of friends and a lot of family  
15 that are running out of money and we still have a bridge to  
16 cross to get us to the financial close of this. And to do  
17 that we signed one of Wall Street's largest and best known  
18 investment banking firms who's ready to raise almost a half  
19 a billion dollars to get this project off the ground. With  
20 the caveat being that there's certain things that we need  
21 to do to get them to move that forward.

22 Some of those are going to be a Lender's Council,  
23 credit ratings, independent engineers, third-party reports.  
24 It's all of this that adds up for us to get there is to  
25 land a bondable EPC contractor that we've been talking

1 about, who we're working with, to be able to get in our  
2 position.

3           So what we ask the Energy Commission to do is  
4 maybe not put money in towards cellulosic ethanol and  
5 things like that. Let Department of Energy work on those  
6 big ticket items and help small guys like us move  
7 commercial viable projects like this forward, cover that  
8 last bridge of funding that we need to be able to leverage  
9 your couple million dollars into a half a billion dollar  
10 investment here in the state.

11           So what we're looking to do here is kind of  
12 reverse situations. We're bringing in technology from  
13 Brazil and bringing it into California versus good  
14 engineering and processing companies in California moving  
15 to Texas. So this is a good reverse growth for what we're  
16 trying to do.

17           And again, running out of time, so I'm going to  
18 skip this, this, this and technology risk. But what you're  
19 doing is bringing necessary funds and you're bridging the  
20 gap and economic benefits to the region. And so thank you.

21           COMMISSIONER SCOTT: Thank you, very much. And  
22 if you have them written down please be sure to send them  
23 to us and to our docket, so we'll get all of the  
24 information you have for us.

25           MR. RUBENSTEIN: I will, thank you.

1 COMMISSIONER SCOTT: Okay, terrific.

2 Oh, and if you think about it, and you have a  
3 minute, you know, either now or at the end of the hearing -  
4 - all of the public commenters -- our workshop reporter  
5 would love you forever, I think, if you handed her a  
6 business card, so she gets your name right in the record.

7 So I have Evan Williams is next followed by Amy  
8 Schwab\*

9 MR. WILLIAMS: Thank you, Commissioner Scott. I  
10 actually have some commentary that was (indiscernible), but  
11 I can maybe get your comments and also Steve. And it had  
12 to do with a lot of what you've heard before. I subscribe  
13 to what Julia talked about, so I won't report it.

14 But I learned a couple things, how do we leverage  
15 the limited funds that the Energy Commission has and also  
16 limited staff. And I have some questions about that.  
17 Steve had talked about the need not to abandon  
18 (indiscernible) technologies, you know starter  
19 technologies.

20 And I think Harry -- and I'm probably a little  
21 more in Harry's camp -- talked about at the end of the day,  
22 success has to do with can you commercialize this, which  
23 means do the technologies work, do you have companies that  
24 at the end of the day stand and make projects work?

25 I observe that all of the companies that are up

1 here today, either have -- Paul's company, a 50 years;  
2 Susan's 100 years; Harry's been in the business for a  
3 number of years; Tom I can't say how long, but you've been  
4 in existence. So you have existing businesses that are  
5 here for your merit review.

6           The question is can we go ahead and maybe access  
7 people that are in the business and doing commercial  
8 investments? Which would include private equity people,  
9 for instance, for more advanced technologies that could add  
10 both in terms of matching capital to what CEC has as well  
11 as maybe the venture capital community to deal with the  
12 early-stage technologies.

13           Now, this isn't going to work for everybody,  
14 because I'm pretty sure that the companies that are here  
15 today are not going to put their hand up saying they want  
16 outside investment. But there may be smaller companies  
17 that have good technologies that do need that and that  
18 would be true both on the venture side and others.

19           A suggestion just, I think, in terms of I think a  
20 lot of things that Harry said, you have to have capital  
21 base. And if you have a smaller company, a private equity  
22 fund or a venture fund that was there could take care of  
23 the hiccups that happen. One thing I know for sure when  
24 you see projections, they will be wrong. The degree that  
25 they're wrong is the issue of do you have the capital to



1 (indiscernible) on those hiccups.

2 So I'm maybe a little bit early, but I thought  
3 that was something that occurred to me when Harry was  
4 talking -- and Steve raised some of these questions earlier  
5 -- that we might be able to leverage the funds that are  
6 available right now for these purposes. Thank you.

7 COMMISSIONER SCOTT: Thank you. I think as part  
8 of the discussion yesterday as well, Tim reached out to  
9 some banks to have part of the conversation that you  
10 raised. And unfortunately, they weren't able to make it.  
11 And don't feel obligated to, but if you'd like to make a  
12 remark Steve or Harry, please do.

13 Go ahead, Stephen.

14 MR. KAFFKA: You know, I think Harry had a very  
15 thoughtful presentation and your comments are very  
16 appropriate. I mean, there if you make requirements for  
17 certain levels of capitalization and certain project  
18 experience, basically you're limiting the creativity or at  
19 least the openness of innovation that the program can  
20 support.

21 And I think it appears that there is some space  
22 between what venture capital could support and what the  
23 needs are for early stage development concepts and ideas.  
24 It may be in California's interest and government's  
25 interest to create a special fund that both is a bit more

1 risk accepting. And also a bit less rigid in terms of ho  
2 funds are actually spent in the process.

3           You know, I mean sometimes state contracts are  
4 fairly specified. Ones we've had, we had to predict our  
5 travel budgets three years in advance. And yet we didn't  
6 know where we're going to be in three years, but you have  
7 to do that to meet the requirements of the contract. So  
8 there needs to be some (indiscernible) on the contract  
9 execution side.

10           And why would that be valuable? Well, David  
11 Rubenstein just mentioned -- and Julia is also a strong  
12 advocate of this motion -- if we're going to transfer the  
13 benefits of our AB 32 Program to all citizens of the state,  
14 the ones that mostly are bypassed are the ones that live in  
15 poor, rural areas in disadvantaged communities.

16           So in particular, that kind of flexibility might  
17 lend itself to startups where biomass feedstocks are  
18 generated in these rural areas, which lead to better  
19 employment and public well-being. And that value is, I  
20 think in my personal view, at least as important as  
21 greenhouse gas reduction.

22           COMMISSIONER SCOTT: Okay. Let's go to Amy  
23 Schwab and after her is Kevin Miller

24           MS. SCHWAB: Hi, Amy Schwab. And I am with the  
25 National Renewable Energy Lab. And I have the great luck to

1 work with the Department of Energy's Bioenergy Technologies  
2 Office. Lead what we call the Systems Integration Group,  
3 where we help them with their long-range planning, their  
4 systems (indiscernible) analysis and their performance  
5 monitoring across the program.

6           So it's really fascinating to be here. I thank  
7 you all for allowing me to be here. And I commend the  
8 California Energy Commission on pushing these technologies  
9 into execution. It is absolutely delightful to see what's  
10 happening here.

11           I just want to amplify a point, some points that  
12 Harry made about what goes into pushing these projects  
13 through to success. And I think the panel of projects that  
14 we have seen this morning are across the board exemplify  
15 just those lessons of what it takes to make this work. It  
16 very much parallels what the Department of Energy has seen  
17 and what my team at NREL has seen with what is going on  
18 across the country.

19           So I noticed a comment that Harry made yesterday  
20 about one of early projects falling apart, and I'm not sure  
21 that's true, because you're here. But I will also say that  
22 for the early stage projects, most of them fail forward and  
23 it requires a lot of support and tenacity to get through  
24 those and to learn from those lessons that inevitably come  
25 from the hopeful optimism of starting something as really

1 important as we're working on, but also as incredibly  
2 complex as we're working on.

3           So, you know, it's nice to see California leading  
4 the way and supporting this and keeping it pushed forward.  
5 And continuing to support moving into the future where we  
6 all need to go.

7           COMMISSIONER SCOTT: Thank you. I have Kevin  
8 Miller next followed by Jim Boyd.

9           MR. MILLER: Good afternoon. I'm Kevin Miller  
10 from the City of Napa. I think Evan mentioned our project  
11 a couple of times and we're fortunate to get \$3 million of  
12 CEC grant funding towards our project that we're working  
13 feverishly on right now. And I thought I could share a  
14 couple of real world processes of crises that we're going  
15 through right now may be instructive to the Board.

16           One there was the idea of a tip fee as a revenue  
17 offset. And that's true, but as I think Evan and certainly  
18 Paul would tell you, the enemy of recycling and composting  
19 has always been cheap landfilling. And in our case, to be  
20 able to get it in the \$60 range as a tip fee offset when  
21 our landfill transportation cost currently is \$64 a ton,  
22 that's fantastic. Because once you get to that breaking  
23 point you already have that sum cost in your rate  
24 structure.

25           And for all the benefits that we know about, and

1 I don't need to belabor them, to shift from a loser  
2 technology of landfilling to the winner technology and all  
3 the environmental benefits -- and I want to say Paul, I  
4 think the one slide you had with the energy recovery  
5 nutrient value -- that is the telling one right there, 100  
6 percent, on all those benefits. That's why it's such a  
7 cool package and that's why we get elected officials to  
8 support higher costs.

9           And I did want to emphasize that we would not go  
10 forward without the \$3 million for our project. As  
11 beneficial as it was, we did the best we could on a cost  
12 benefit analysis that would look over a 20-year period.  
13 And our council approved a 1 percent rate increase more  
14 than they would've needed to before, but realize that's 1  
15 percent for the next 20 plus years more than they would  
16 have needed it before. But they did that, because of all  
17 the attributes of this process.

18           And we want to thank South San Francisco too,  
19 because we're going to benefit from these real world  
20 experiences that they have for our project.

21           And then the other side is I want you to be aware  
22 too that this isn't -- there's a lot being asked of the  
23 local solid waste and recycling systems to get to 75  
24 percent plus recycling, which is the CalRecycle goal.

25           It was mentioned clean material; we're trying to

1 be as clean as possible both the front end and the back  
2 end. We're putting \$2.3 million in a pre-processing  
3 system. And we're going to have to put another \$2 million  
4 into stormwater upgrades. Those are real dollars that have  
5 to be addressed.

6 And also the new regulations that have come out,  
7 1/2 of 1 percent at the back end for compost. Well, that's  
8 10 pounds in ton. We're going to have to work real hard to  
9 achieve those. I think I've run out of time here. Thank  
10 you.

11 COMMISSIONER SCOTT: All right, thank you.

12 MR. EDGAR: Yeah, one of the big things we did  
13 this year, Kevin, was the (indiscernible) Oroville, 1045.  
14 That really integrates the Water Board with the Air Board,  
15 because what's happened to the compost industry we're under  
16 attack from all sides. And your real world, all the  
17 compost -- we've spent millions of dollars on upgrading the  
18 water system.

19 So that's another reason why that grant money was  
20 so critical, because you've got to take the digestate  
21 compost and those upgrades from the Air and Water Board is  
22 going to be tremendous over the next couple years. So  
23 that's real world.

24 MR. MILLER: I know the last sentence I had  
25 mentioned, we do have the advantage that addresses a

1 concern earlier is our digestate will be composted and  
2 processed right onsite. So we don't have that  
3 transportation negative

4 COMMISSIONER SCOTT: Thank you.

5 I have Jim Boyd followed by Shawn Garvey. And  
6 I've only got -- after Shawn, I have Michael, and that's  
7 all the blue cards that I have in the room. So if you were  
8 wanting to make a comment please make sure you get a blue  
9 card in right quick.

10 Go ahead, Jim.

11 MR. BOYD: Thank you, Commissioner. I want to  
12 congratulate you for this symposium or hearing today. It's  
13 been very educational for me. It's shows how you've moved  
14 things along since I retired from this Commission. I'm not  
15 used to being on this side of the (indiscernible) either.

16 COMMISSIONER SCOTT: Do you want to come and join  
17 us up here?

18 MR. BOYD: So a commendation to my former  
19 advisor, Tim Olson, for your thanks, for what he's done.  
20 He picked up some of my passion for waste energy, biomass  
21 use and what have you, since I left the Commission.

22 I just want to say it's gratifying to see this,  
23 because I'm the one who broke the personal their personal  
24 pick on getting the AB 118 Program put in place. And you  
25 have no idea of the price we paid politically behind the

1 scenes to get the Energy Commission to get most of the  
2 money, that was originally intended to be all of the money  
3 to the Commission for this program.

4 I like the interagency cooperation I hear more  
5 talk about, it's absolutely necessary. You're dealing with  
6 a monstrous system with hundreds of dots to connect. And I  
7 think (indiscernible) you see more and more of how that  
8 fits. And you can't do something in just the narrow  
9 transportation area without thinking about the electricity  
10 area or the composting area or the recycling area.

11 And I want to say I'm pleased to see that compost  
12 folks and recycling folks are so tuned in now, because  
13 honestly early on if we tried to interject any of the  
14 material going to landfill for other uses, we were beat up  
15 severely over in the Legislature by the composters and  
16 recycles, because they thought it might mess up the program  
17 they'd spent so long of their lives to get. But now  
18 everybody's working cooperatively, which is what we really  
19 need and just need a lot more of it.

20 I think Harry mentioned, you know, really the  
21 question why the State spends this money to get into here.  
22 Well, it was my experience particularly during the  
23 recession or depression, that the venture capitalists  
24 backpedaled really fast. The key financiers seeing the  
25 venture capitalists running from the Valley of Death,



1 seeing no one stepping in, they just walked from the scene.  
2 And if government doesn't walk a little ways into the  
3 valley -- and not with a lot of money, but with its  
4 reputation on the line to bring the big bankers back into  
5 the picture -- I don't think we'd be talking about what we  
6 have here today.

7           But I think this is an incredibly important  
8 program. Interagency cooperation, you need to -- the PUC,  
9 you talked to a lot, but they need to be involved. The  
10 interconnection problem that is referenced has been very  
11 problematic. The PUC has a role to play, they're not the  
12 fastest agency in the world and the utilities were very  
13 uncooperative in past. And that's got to be caught up.

14           CPIP, Tom didn't mention the real grief that was  
15 paid by both the players and this agency, in getting that  
16 performance-based program launched in the middle of the  
17 recession when the food versus fuel hysteria was raging.  
18 And this agency paid a huge price. They just said one  
19 seven-year program lasted a year and that's basically what  
20 it was.

21           And the ARB in the state (indiscernible) low  
22 carbon energy ethanol wasn't any place you could get it,  
23 and thank god it survived for a year. But it really  
24 should've lasted longer. The Treasurer's Office paid a  
25 little bit of a price too, but comparatively anyway --

1 remember on that point.

2           You know, this agency when I worked here, we  
3 signed an MOU with the country of Sweden. It might've been  
4 on the same trip that Paul was --

5           MR. KOEHLER: Well, it was different.

6           MR. BOYD: Okay. But there were multiple trips  
7 to Sweden, because they were so far advanced and remained  
8 so far advanced. And California -- and the energy in their  
9 area was so far advanced we wanted to exchange things. But  
10 most of those kind of cooperative MOUs just kind of go in a  
11 drawer somewhere unfortunately, are not policed very well.

12           And I would encourage you to pay attention to  
13 what Sweden has done, because ten years ago they were  
14 already separating in the homes, all of their waste. And  
15 they were biodigesting fuel like crazy.

16           So my message yesterday was to get the policy  
17 people in the Legislature and the Executive Branch to  
18 embrace and speak more favorably about what you're trying  
19 to do in this small slice of the pie that's so big in all  
20 that we're really doing these days to try and solve other  
21 problems. That this could help if they only realized it,  
22 quantify it, monetize it and pay for what you're trying to  
23 do.

24           And ditto Commissioner Levin's comments about Cap  
25 and Trade dollars, ARB. Sam, I don't know you, you're one

1 of the new millennials running agencies that are now  
2 considered a -- I learned recently I'm part of the silver  
3 tsunami.

4           And lastly, the CI, it was referenced a little  
5 bit here today. It's very confusing to the folks who are  
6 beginning to be more active in this area. They don't  
7 understand it. I talked a little bit -- I finally read  
8 your website -- it is confusing. And people don't know  
9 when to jump in to go after a CI. People are asking what's  
10 the CI of their potential product, if they can only get  
11 their process done. And, "Well, I don't have a CI yet,  
12 because I don't think I can get one, because I really am  
13 not generating the product yet." Some education is needed.  
14 Thanks.

15           COMMISSIONER SCOTT: Thank you, Jim. Thank you  
16 for your (indiscernible) --

17           MR. WADE: Thanks, Jim. I could just go on to  
18 the CI part of it. I mean, I think we're aware of this  
19 issue. I mean, initially the program was more geared  
20 toward large biofuel producers who had the time and money  
21 to come and talk to us and develop their own CIs. And  
22 we're making an attempt to simplify it for smaller  
23 producers.

24           So, you know, I encourage folks to reach out  
25 directly to myself and other LCFS staff. And just, you

1 know, have a conversation about the range of CIs that we've  
2 already established and the representative ones that's  
3 closest to your technology and situation. And that should  
4 be good enough to start you down path of financial  
5 modeling.

6 And then as you get into operations and you have  
7 a quarter's worth of real world data, that's really when  
8 it's time to come to us and get your individual CI. So  
9 hopefully that clears things up.

10 COMMISSIONER SCOTT: Thank you.

11 We have next Shawn Garvey followed by Michael  
12 Papanian

13 MR. GARVEY: Thank you, Commissioner Scott.  
14 Shawn Garvey with the Grant Farm and I'll quickly go  
15 through some comments. I had some of these prepared and  
16 I'll be submitting them in writing as well.

17 COMMISSIONER SCOTT: Thank you.

18 MR. GARVEY: But so many great observations this  
19 morning, much of the discussion today was focused on what  
20 constitutes success from the perspective of CEC investment  
21 in a project or a technology. My comments today are more  
22 about the people and processes that support project success  
23 for bioenergy projects.

24 In our experience at the Grant Farm, projects  
25 really succeed or fail strictly on the strength of the

1 technology or the project. But rather the strength,  
2 integrity, patience and diligence of the key people  
3 involved in the project. Harry's projects at Crimson,  
4 Evan's projects, Paul's projects succeed quite frankly,  
5 because of the unique qualities that Harry, Evan and Paul  
6 bring to their projects.

7           So I think we should just as carefully think  
8 about how we reproduce Harry, Evan, and Paul as we do how  
9 we reproduce biodiesel equipment and biodiesel projects.

10           A couple of thoughts about how we do that, first  
11 is to expand upon the culture of innovation. Steven and  
12 Harry both raised the issue of the separation of venture  
13 funding and more high-risk funding. The EISG Program used  
14 to be that vehicle.

15           Right now on the EPIC side, they have an RFP on  
16 the street for \$33 million, which captures -- frankly  
17 builds upon substantially, the strengths of the strengths  
18 of the EISG Program.

19           And by having a Series A and Series B funding  
20 round for EPIC-type projects of \$150,000 and \$450,000  
21 mimicking more what we see in accelerators and clusters and  
22 incubators around the state.

23           I think that certainly this side of the building,  
24 of the agency, might want to seriously consider adding on.  
25 I know that's how EISG built out as well, but that's a

1 place to deposit. The great thing about the way they're  
2 handling that, as well as that is being managed, it will be  
3 managed outside the agency. So through a foundation or  
4 through an accelerator program that has the skill sets to  
5 identify the difference between success and failure for  
6 those types of key people who are involved in a project.

7 I'd like point out number two, the avoidance of  
8 catastrophic success. This is a concept that we have built  
9 in, hardwired, at the Grant Farm now. A lot of the  
10 original projects that we worked four or five or six years,  
11 seven, eight, nine years ago ended up experiencing what we  
12 define as catastrophic success.

13 We use this in our proposals, so I'll read it to  
14 you. "An innovation enterprise that attracts so many  
15 resources so quickly, that it exceeds its own sustaining  
16 capacity resulting in the inability of the organization to  
17 respond to demand." We can all point to several projects  
18 funded by the CEC that have experienced catastrophic  
19 success. And there are some ways, I think, that it's worth  
20 spending time on the distinction between a project that  
21 experiences this and then one that doesn't.

22 Having been through many kickoff meetings and  
23 CPURs I can tell you that basic information about how an  
24 applicant, a successful applicant works with the CEC, is  
25 very well communicated, fairly standardized at this point.

1 But the qualities that are required of the team working  
2 with the agency is not a part of the conversation.

3           And I want us to build out an understanding of  
4 how the CEC actually works with and collaborates with its  
5 funding partners, so as to better ensure their own success.  
6 So socializing applicants and awardees to the very idea of  
7 how to collaborate with the agency, support teaming  
8 ((phonetic) relations, the teaming mentorship programs for  
9 people who have been funded in the past, so that they could  
10 be led through the process. And you could diminish that  
11 sort of antagonism that occurs between many of your funded  
12 applicants and the agency.

13           I mean, it's not always felt to be, on the  
14 outside, a mutually rewarding collaborative experience.  
15 People oftentimes are feeling like they're defending  
16 themselves from the agency, right or wrong.

17           COMMISSIONER SCOTT: Yeah. Shawn, I'll ask you  
18 to give us a summary remark and then thank you for writing  
19 it all down and sending it to us as well.

20           MR. GARVEY: I will absolutely submit this in  
21 summary, and I apologize for the time.

22           COMMISSIONER SCOTT: No, no, it's all good.

23           MR. GARVEY: Matt told me it would take longer  
24 than three minutes.

25           But just to finish up, streamline and modernize

1 the process. This stuff has to go online. The timelines  
2 of the projects need to be held to by the agency as well as  
3 the applicants. I would consider mimicking CalRecycle's  
4 GHG Organics Program, not only in the process of submission  
5 in relationship to prospective applicants, but also in the  
6 way that they have incentivized production, fast  
7 production, in the grant process itself. So that part of  
8 the grant is going as a grant and part of it is a reward  
9 for production in the timeline that you've committed to.

10 And finally I do need to say this, just for the  
11 record, we have to dramatically expand the communities that  
12 are participating in California's advanced energy economy.  
13 Quite simply this entire concept, this historic  
14 transformative thing that we're all part of is absolutely  
15 unsustainable. I know we know this and you and I have  
16 talked about it. If the audience that we're talking to  
17 today, and in this room, as great as -- and forward  
18 thinking as everybody here is -- doesn't dramatically  
19 expand it.

20 And so we need investment in bringing new  
21 communities that are not part of this conversation into  
22 this conversation. Thank you.

23 COMMISSIONER SCOTT: Yep, thank you very much.

24 I have Michael Paparian and that's my last blue  
25 card, so if there's anyone here who wanted to make a remark



1 and hasn't put in a card please maybe line up behind Mike.

2 But go ahead, Mike.

3 MR. PAPARIAN: Thank you. I just wanted to offer  
4 a caution and an opportunity in the area of venture  
5 capital. When I ran the Pollution Control Financing  
6 Authority we received \$84 million in federal funds to  
7 assist businesses. It could be used for one of four  
8 categories, venture capital was one. Very, very  
9 (indiscernible) -- we could have jumped into venture  
10 capital, we looked at it very carefully decided not to do  
11 it.

12 And the reason we decided not to do was we  
13 basically decided the State is not very good at venture  
14 capital-type programs, particularly in light of there being  
15 the most robust venture capital community in the world, in  
16 California. It's kind of like if you had trouble getting  
17 technical evaluators lined up to assist you. You can  
18 imagine how challenging it would be to get kind of the  
19 financial folks, who would really make the right decisions  
20 on venture capital, (indiscernible) the State when there  
21 are others that are going to make a ton of money off of  
22 that.

23 So my suggestions are three-fold. I think you  
24 could influence the venture capital community by working to  
25 make projects more visible to the venture capital

1 community, looking for opportunities to make projects more  
2 desirable for the venture capital community. And I think  
3 some of the things that you've talked about here would  
4 actually do that.

5 And then finally, it may be possible to partner  
6 up with some folks. I'm thinking particularly of the group  
7 called CALCEF, who is in kind of a quasi-venture capital  
8 space, but is not really a venture capital company, it's  
9 more of a nonprofit that was set up and sanctioned by the  
10 State of California.

11 COMMISSIONER SCOTT: Great, thank you.

12 Anyone else in the room? Okay. My understanding  
13 is that we do not have any comment on the WebEx; is that  
14 still the case?

15 (Response off mic.)

16 Okay. Well, thank you so very much to everyone  
17 for your engaged participation. We really appreciate it.  
18 I mean, help me thank our panelists and our reviewers.

19 (Applause.)

20 COMMISSIONER SCOTT: Tim, any closing remarks?

21 MR. OLSON: So the only thing, if you want to  
22 make a public comment. We don't have a deadline, but it  
23 would be great if you could provide that in next couple of  
24 weeks. And the materials -- there'll be a transcript of  
25 this workshop and the materials, the presentations are on

1 our website right now.

2 COMMISSIONER SCOTT: Excellent. We are  
3 adjourned.

4 (Whereupon, at 12:57 p.m., the workshop  
5 was adjourned)

6 --oOo--

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 19th day of October 2015.

A handwritten signature in black ink that reads "Susan Palmer". The signature is written in a cursive, flowing style.

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 19th day of October, 2015.



---

Myra Severtson  
Certified Transcriber  
AAERT No. CET\*\*D-852