

DOCKETED

Docket Number:	15-RETI-02
Project Title:	Renewable Energy Transmission Initiative 2.0
TN #:	213616
Document Title:	Transcript of 08/15/16 Renewable Energy Transmission Initiative 2.0 Joint Agency Workshop
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	9/12/2016 8:21:08 AM
Docketed Date:	9/12/2016

CALIFORNIA ENERGY COMMISSION

JOINT AGENCY WORKSHOP

In the Matter of:)	Docket No.
)	15-RETI-02
Renewable Energy Transmission)	
Initiative 2.0)	
)	
)	

CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY (CALEPA)

CALEPA HEADQUARTERS BUILDING

1001 I STREET

BYRON SHER AUDITORIUM, SECOND FLOOR

SACRAMENTO, CA

MONDAY, AUGUST 15, 2016

1:00 P.M.

Reported By: Peter Petty

APPEARANCES

Commissioners Present

Chair Robert Weisenmiller, California Energy Commission,
CEC

Joint Agency Partners:

Stephen Berberich, California Independent System Operator
(CAISO)

Neil Millar, CAISO

Sushant Barave, CAISO

John Laird, California National Resources Agency (CNRA)

Michael Picker, President, California Public Utilities
Commission, (CPUC)

Brian Turner, Renewable Energy Transmission Initiative
(RETI) 2.0

Jerome Perez, U.S. Bureau of Land Management

CEC Staff Present

Scott Flint, RETI 2.0 Environmental and Land Use Technical
Group (ELUTG) Staff Lead

Eli Harland, Strategic Transmission Planning and Corridor
Designation Office

Thomas Gates, Environmental Office

Misa Milliron, Strategic Transmission Planning and Corridor
Designation Office

Other Presenters (* Via telephone and/or WebEx)

Nisar Shah, ZGlobal (consulting with IID)

Ziad Alaywan, ZGlobal (consulting with IID)

Keegan Moyer, Energy Strategies, LLC

Public Comments: (* Via telephone and/or WebEx)

Kate Kelly, Defenders of Wildlife

Nathan Bengtsson, PG&E

Sandeep Arora, LS Power

*Steve Mills, The Alliance for Desert Preservation

I N D E X

	<u>Page</u>
Introduction & Housekeeping	
Brian Turner, RETI 2.0 Project Director	5
Opening Comments	7
John Laird, Secretary, CNRA	
Robert Weisenmiller, Chair, CEC	
Stephen Berberich, CEO, CAISO	
Jerome Perez, Director, U.S. BLM	
Review of RETI 2.0 Objectives, California Renewable Energy Goals and Potential, and Identification of Transmission Assessment Focus Areas	15
Brian Turner, RETI 2.0 Project Director	
RETI 2.0 Environmental and Land Use Technical Group Update	28
Scott Flint, ELUTG Staff Lead, CEC	
Eli Harland, Siting and Transmission Environmental Protection Division, CEC	
Thomas Gates, Tribal Liaison & Cultural Resource Unit in the Siting Division, CEC	
RETI 2.0 Transmission Technical Input Group (TTIG) Update	54
Neil Millar, TTIG Staff Lead, CAISO	

I N D E X (Cont.)

	<u>Page</u>
RETI 2.0 Transmission Technical Input Group (TTIG) Update (Cont.)	54
Sushant Barave, Infrastructure Planning Group, CAISO	
Nisar Shah, ZGlobal (consulting with IID)	
Ziad Alaywan, ZGlobal (consulting with IID)	
RETI 2.0 Western Outreach Project	88
Keegan Moyer, Energy Strategies	
Next Steps for RETI 2.0: Completing Evaluation Of Tafas, Preparing Conclusions and Recommendations	101
Brian Turner, RETI 2.0 Project Director	
Public Comments	108
Adjourn	119
Court Reporter's Certification	120
Transcriber's Certification	121

1 P R O C E E D I N G S

2 August 15, 2016

1:08 p.m.

3 MR. TURNER: My name is Brian Turner. I'm just
4 going to get us started with a little housekeeping
5 information about today's events and the room.

6 Welcome. This is the Renewable Energy
7 Transmission Initiative, Version 2.0, a public workshop,
8 joint agency workshop. This workshop is being recorded and
9 a copy of the recording will be available on the RETI 2.0
10 website a few days after the workshop. And the notice will
11 be sent to the RETI Listserv. Information about RETI 2.0
12 is sent to those who have joined this Listserv. There is a
13 handout on the table just outside the auditorium with
14 instructions on how to join the RETI 2.0 Listserv.

15 There will be a public comment period at the end
16 of today's workshop. For those of you in the auditorium,
17 if you wish to make public comments please fill out a blue
18 speaker card and give it to the Public Adviser's Office
19 staff at the table at the back of the auditorium --
20 Rosemary Avalos, who just stood up there in the back of the
21 room -- if you could hand your blue card to her.

22 Then public commenters will be called to the
23 podium at the front of the room at the end of the workshop.
24 Please state your name and affiliation and speak directly
25 into the microphone so that those on the WebEx will be able

1 to hear you.

2 For those of you participating remotely by WebEx
3 you will be muted until the designated comment period. We
4 will call on participants in the room first and then call
5 on WebEx participants. We will unmute the phone line for
6 each WebEx participant as we call on them. Please use the
7 raised hand feature in the participant's panel of the WebEx
8 to notify the host that you would like to participate.
9 After your comments or question, please click the hand icon
10 one more time to lower your hand. You may also submit
11 questions or request to speak using the chat feature.

12 We will have several presentations today from
13 representatives of the several RETI 2.0 working groups. If
14 you have a clarifying question for a presenter we will do
15 our best to accommodate brief, clarifying questions if time
16 allows. If there is time we'll pause at the end of
17 presentations to see if there are any clarifying questions.

18 For those of you in the room please raise your
19 hand and we'll bring a microphone to you. Or if you're on
20 the Webinar please use the raised hand function, so we can
21 identify you, and invite you to ask your question. If your
22 question or comment is not a clarifying question for the
23 presenter, then we'll ask you to save your comment for the
24 public comment period.

25 We also welcome written comments on the workshop.

1 They are due August 29th and instructions for submittal can
2 be found in the workshop notice on the handouts table out
3 front. Also on that table is a RETI sign-in sheet, which
4 we would appreciate your signing if you did not already do
5 so. Alternatively, you can leave a business card.

6 Finally, I need to share evacuation information
7 for this building. Please look around you now and identify
8 two exits closest to you. In some cases, an exit may be
9 behind you. In the event of a fire alarm we are required
10 to evacuate this room. Please take your valuables with you
11 and do not use the elevators. Staff will endeavor to
12 assist you to the nearest exit. And you should also know
13 that you may find an exit door by following the ceiling-
14 mounted exit signs. Evacuees will exit down the stairways
15 and possibly to a relocation site across the street. If
16 you cannot use stairs you will be directed to a protected
17 vestibule inside a stairwell. Should we have to relocate
18 out of the building please obey all traffic signals and
19 exercise caution crossing the street, which is always wise
20 advice.

21 And with that, I welcome you all to this
22 workshop. And I'll turn it over to Secretary John Laird to
23 kick things off.

24 SECRETARY LAIRD: Thank you very much, Brian.

25 And it's a pleasure to be here and sort of do a

1 little bit of setting the context for the workshop. And I
2 apologize in advance, because I can't stay, but for a
3 little bit of the first part.

4 And this project or process was initiated roughly
5 a year ago by the Energy Commission, the Public Utilities
6 Commission, and the Independent System Operator who are
7 represented here at the dais. And as it has gone along the
8 last year the Resources Agency and the Bureau of Land
9 Management -- and Jerry Perez, the California Director, is
10 joining us here at the dais -- became involved. So now we
11 have a five-agency effort with a state and federal focus
12 across energy, economic land use, and environmental issues.
13 And the staff member Brian is nested with the Resources
14 Agency in this.

15 And in setting the context I thought I'd make a
16 couple of points in addition to sort of talk a little bit
17 about the process that we will be involved with today. And
18 one is the notion of setting of goals.

19 And I like to tell a story that almost 30 years
20 ago I was a City Council Member and the state set a goal
21 for diversion of 50 percent from what was going into
22 landfills at the time. And as a City Council Member and
23 Mayor I thought, "That's a great goal. I don't see how
24 they're ever going to achieve it. We'll participate." And
25 because the goal was set, because it brought a little money

1 to the table, we not only have met that 50 percent goal,
2 statewide now we're over 60 percent. We have a goal of 75,
3 and we can almost see on the horizon how we might not need
4 new landfills over time.

5 And I was a co-author of AB 32 and we did it in
6 2006. We thought it was really going to be hard and parts
7 of it have been, but we're on target. And you look at many
8 different goals. And setting them helps us reach them in
9 ways that we might not think is possible at the time.

10 So the Governor has set forth five different
11 pillars of really, climate change response and lowering
12 greenhouse gas emissions. And four of them in some manner
13 are extensions of existing goals. And the fifth one I have
14 the great pleasure of working on in resources, because it's
15 natural lands. And we're trying to quantify for the first
16 time what's going on with forests. We're looking at sea
17 grass and algae in the oceans. We're looking at ag land
18 protection. We're trying to quantify it, deal with it and
19 produce toward that goal.

20 But we benefit from the fact that there was the
21 goal for Renewable Portfolio Standards that by 2020 really
22 set it at 33. And we are on track to meet it, but that
23 goal forced so much with it to make sure that we were
24 ready. And I think as the Governor, by Executive Order,
25 has gone to 50 percent by 2030 we have amazing amounts of

1 information from the first process we went through. And we
2 have a certain understanding of what we need and what is
3 required with it.

4 And that is really what has led to this process
5 is making sure we utilize that information, develop what we
6 don't have, involve all the stakeholders. And as we get to
7 embark on that next goal we have that ready to facilitate
8 things coming online in meeting that goal.

9 And there's a great argument about whether we're
10 the seventh largest or eighth largest economy in the world.
11 But whatever it is the fact that we have to have a grid
12 that really matches that economy, and is ready for the
13 change in energy dynamic in the state, really requires new
14 planning and coordination.

15 And at the same time accessing and unlocking this
16 renewable energy in California has environmental
17 implications. And we have to understand these as early as
18 possible to make smart decisions and it's critical for us
19 to be really smart from the start. And we know that as
20 we're going in the last four years of meeting the previous
21 goal, and moving on to the next one, that that gives us a
22 little time right now to put things in place to get those
23 on table, to decide how we're going to meet those needs.

24 Climate change is a complex problem and when you
25 set the goals you do the easiest pieces early. And then it

1 gets to things where there's a little more complexity or a
2 little more difficulty. That's where we're heading and
3 it's right at the time. And since Saturday night in Lake
4 County, and Friday I flew over the Big Sur fire, you can
5 see what some of the effects are in the change in climate.
6 You can see why there's urgency for us to lower our
7 greenhouse gas emissions and have alternatives there,
8 because we are already moving into what some of the effects
9 are.

10 So to see the five different organizations
11 represented here leading this effort and the many others
12 that are represented here by you, whether it's public
13 utilities, country official, sovereign tribes, NGOs, other
14 states that are voluntarily participating and adding their
15 expertise. So when the RETI 2.0 Project was launched last
16 September a staff from each of our agencies has developed a
17 work plan, organized stakeholders, and began acting on the
18 work program in January.

19 And this is the second check-in session of the
20 whole group, a leadership from the five agency
21 organizations plus all interested stakeholders, since the
22 staff started the program in January. And I know they've
23 been hard at work on fleshing out the issues affecting any
24 potential need for electric transmission from a variety of
25 perspectives. And I'm looking forward to hearing today on

1 the progress made on these first two stages and plans for
2 the last phase of the work to bring us closer to
3 completion.

4 And I understand we're still on track to look for
5 a draft and final report from this process in the fall of
6 this year and appreciate the opportunity to check in, so I
7 just wish you best of luck on your work. I know all of us
8 stand ready as part of this to help. And we look forward
9 to a success in this process, so I appreciate the chance to
10 lead this off.

11 And I'm going to turn it over to Bob Weisenmiller
12 who's going to run the meeting.

13 CHAIR WEISENMILLER: Great, thank you. Thank you
14 very much, Secretary Laird, for kicking this off.

15 I think it's been a -- you indicate a great
16 process -- to start teeing up the issues we face
17 implementing SB 350. And I'm going to be brief and just
18 say I think when we had the last check-in that my takeaways
19 from it were one, we have lots of options. I mean, when we
20 looked at the range of renewables in this state there's
21 just a ton of options. And that part of it is there's a
22 pretty wide range of uncertainty about what the loads are
23 going to be going forward. Part of it is we have a very
24 aggressive goal to double down on energy efficiency. We
25 have very aggressive goals to increase zero emission

1 vehicles. And obviously, the California economy's always
2 somewhat of a wild card although we're sort of in a boom
3 mode now, but over time we expect to go up and down and
4 boom.

5 So that as we look forward across the range of
6 renewable options, obviously some of the bookends are if we
7 have lots of energy efficiency, a low economy and not very
8 many zero emission vehicles, frankly we're not going to
9 need many renewables to really get to our greenhouse gas
10 goals. On the other hand, if we have lots of zero emission
11 vehicles, very strong economy, not as much progress on the
12 energy efficiency side we're going to need substantially
13 more.

14 And so going forward part of where we're in the
15 stage now is saying, "For that, can we start ranking some
16 of the potential portfolios of renewables?" And at least
17 start with the ones that we're pretty comfortable we're
18 going to need. And then have things teed up, so over time
19 as we get more clarity on how we're doing on the energy
20 efficiency and zero emission vehicles we can add more into
21 the mix. And again, it's pretty clear we have a lot of
22 options.

23 A fundamental challenge for RETI is to do that
24 sort of ranking of looking at not just economic costs, but
25 environmental costs for the potential portfolio coming up.

1 I tend to talk portfolios I think our experience in the
2 past has been doing 100 percent solar or 100 percent wind
3 or 100 percent geothermal. It doesn't make as much sense
4 as having a mixture of wind, geothermal, solar, biomass in
5 a portfolio and have that portfolio scattered around the
6 state. Start moving forward on that and then having teed
7 up sort of the next group of portfolios that, as we look at
8 it, we get more experience.

9 So anyway, today's a good chance for a read out
10 from the staff on the progress. I think we're at a stage
11 now of trying to really think about where we are in the
12 pieces, start thinking through the steps to wrap this up,
13 and at the same time start thinking about how this feeds
14 into the next round of activities. This has been more of a
15 stakeholder-driven process. Ultimately, we're going to
16 have to commit more into some of the regulatory forms
17 before we can really spend a lot of money on transmission,
18 but anyways, laying a pretty good framework across all the
19 agencies.

20 So with that, President Picker, do you have a few
21 words?

22 (No audible response.)

23 Steve?

24 MR. BERBERICH: I'll be brief as well. And Chair
25 Weisenmiller, Secretary Laird, appreciate you having us

1 here all together today.

2 I think significant progress is being made.
3 You'll hear today I think quite a bit about the
4 transmission system and see what's available. The goal
5 here, I think is to reuse as much as we can, so we don't
6 have to build new. Fleshing out the portfolios and how
7 they will all operate together is going to be a key part of
8 that. But I suspect we'll have to iterate as the
9 Commission makes its decisions down the road, the Public
10 Utilities Commission makes its decisions down the road, and
11 look forward to working through that process together.

12 DIRECTOR PEREZ: So I just wanted to thank the
13 Board here as well as you, Secretary Laird, for the
14 opportunity for the Bureau of Land Management to be part of
15 this process and to be engaged early. And really I'm
16 looking forward to seeing the presentations this afternoon,
17 so I just wanted to acknowledge that.

18 CHAIR WEISENMILLER: Great.

19 And Brian?

20 MR. TURNER: Great. Well, thanks. My name is
21 Brian Turner. I'm the overall Project Director for RETI
22 2.0. And I'm going to kick us off with basically the
23 agenda for today and catch us up with where we've been,
24 where we started from last, so that then you'll hear the
25 progress that's been made since we last met.

1 So like I said, I'm going to kick it off there.
2 Then we've got three presentations from some of our
3 different tracks under the RETI 2.0 Project: The
4 Environmental and Land Use Technical Group, the
5 Transmission Technical Input Group and the Western Outreach
6 Project. Then I'll close out with talking about our next
7 steps and we'll have a public comment period at the end.

8 So this first part here is really just to catch
9 us up on where we've been and how we got to what are called
10 the Transmission Assessment Focus Areas, which has been our
11 focus for the second phase. That is, evaluating what are
12 the transmission and environmental implications of
13 renewable development or imports or exports through these
14 Transmission Assessment Focus Areas.

15 First, the overall RETI 2.0 Objectives: this is a
16 statewide, non-regulatory planning process. I need to
17 emphasize the "non-regulatory" nature. It is really more
18 of a visioning effort in response to SB 350 and the
19 Governor's goals. During this process we have explored
20 combinations for renewable generation resources that can
21 help meet those goals. We're building understanding of the
22 transmission implications of accessing and integrating
23 those resources, identifying land use and environmental
24 implications, opportunities, constraints to accessing those
25 resources. And overall the project is rather accelerated,

1 for government work anyway, agency driven in a high-level
2 assessment that will give direction for future regulatory
3 proceedings and planning initiatives.

4 Policy context very briefly: I mentioned the
5 Governor's goals establishing the 40 percent GHG reduction
6 target across all agencies and economy-wide. SB 350 which
7 really memorialized many of those goals and specific
8 programs like the RPS at 50 percent. Integrated resource
9 planning, I'll highlight at both the private utilities and
10 the public utilities that will integrate this 40 percent
11 GHG reduction goal, economy-wide; also substantial
12 dedication to substantial transportation electrification.

13 I will mention the California ISO is continuing
14 its planning around potential regional expansion. This
15 project is not directly related to that, but obviously many
16 overlapping issues. Similarly, with around the west there
17 are many ongoing policy initiatives that have implications
18 for this process: the Clean Power Plan, federal renewable
19 tax credit extensions may have a substantial impact on
20 renewable development.

21 Other states are moving forward on their policies
22 including the climate policy of Washington state, renewable
23 goals in Oregon, Nevada coming up with a new plan quite
24 shortly. And Mexico, recent, their electricity sector
25 reform, which is ongoing and having impacts on the

1 renewables market there.

2 So this is really the overall process and we'll
3 refer to this a few times during the meeting. We did kick
4 it off in January.

5 I'll draw your attention to the blue line there,
6 which is Plenary Group. That is all the participants in
7 the RETI 2.0 process. They're responsible for the high-
8 level setting of what kind of renewable resource goals are
9 we planning towards. Where are the renewable resources
10 currently that we may want to access? Identifying then
11 these high-value resources that may need transmission --
12 and this is what we have termed the Transmission Assessment
13 Focus Areas. And then the Plenary Group will be
14 responsible for developing recommendations and next steps.

15 With these high-value resources that may need
16 transmission, the TAFAs, those were given or turned over to
17 Transmission Technical Input Group and the Environmental
18 and Land Use Technical Group to evaluate the implications
19 of development in those TAFAs. And that's what they've
20 been hard at work on for these past couple of months. And
21 we'll hear some initial reports out about their progress to
22 date.

23 One of the things we also heard during this
24 process though is that understanding more about the rest of
25 the west and where renewables will be developed there, and

1 what are the transmission implications, is extremely
2 important for the state to be spending more time, more
3 effort getting that information. However, it's hard for
4 the state to do so, both practically and politically to
5 decide that we know how other systems around the west are
6 going to operate. So we have asked an external party, the
7 Western Interstate Energy Board, to help us with that
8 project. And they're in the midst of a convening of a
9 Western Outreach Project that we'll talk more about today.

10 A brief list of all the activities, all the
11 workshops that we've held to date, I won't get into too
12 much detail there.

13 So I did want to review briefly how we got to the
14 Transmission Assessment Focus Areas. This has to do with
15 the renewable goals that Chair Weisenmiller was just
16 speaking about. How do you translate the high-level goals
17 that SB 350 and the Governor's Executive Order set for us
18 into quantitative goals for renewables for planning
19 purposes?

20 Again, this doesn't have any regulatory weight,
21 but this is how we got to the Transmission Assessment Focus
22 Areas: how much renewables, where might we need, where
23 might they be located? How much from different areas? For
24 planning purposes we need to have some kind of estimate of
25 what could come from different areas. And then is this an

1 area that will or could require a new transmission, so that
2 we can complete that assessment.

3 So the first question: how much renewable energy
4 might we need? What we did in this process is take
5 existing energy projections and determine what's the
6 incremental renewable energy demand beyond needing 33
7 percent in 2020. As Secretary Laird mentioned it looks
8 like we're on track to have that much renewables online by
9 2020 to meet the 33 percent.

10 So then the question becomes how much more might
11 we need to meet either a 50 percent RPS or moreover, the 40
12 percent economy-wide greenhouse gas reduction goal? For
13 that purpose we use the California Energy Commission's
14 Energy Demand Forecast extrapolated to 2030 and adjusted to
15 approximate the SB 350 energy efficiency goals to get at
16 how much renewables might be needed to reach a 50 percent
17 RPS.

18 For the GHG question it's a little more
19 complicated, because it involves the entire economy and
20 potential demand shifting between sectors. So for this
21 purpose we use the California PATHWAYS Model, developed by
22 Energy & Environmental Economics, as consultants to the
23 California agencies back in 2014 and '15. And they have
24 some projections about how much electricity might be
25 required to meet those GHG goals. And then how much of

1 that electricity would need to be renewable; that is, an
2 RPS equivalent. And some of the critical variables in that
3 equation are energy efficiency, behind-the-meter solar PV,
4 electric vehicles and other electrification.

5 And so we use this shortcut of a equivalent RPS
6 in the -- as a result of this model could be in the 55 to
7 60 percent range. Again, this is a shortcut to represent
8 how much renewables amongst the electricity ones.

9 So here we have a graph representing the range of
10 results based on these different scenarios. On the left
11 you see the CEC's Integrated Energy Policy Report, IEPR.
12 Low-demand forecasts, then a mid-demand, mid-energy
13 efficiency -- I'm sorry, economic demographic factors is
14 the mid-band and then with the SB 350 energy efficiency
15 projection -- then a high-demand case. And then we move
16 into the PATHWAYS model, which again are modeling very high
17 demand scenarios based upon electrification of large
18 sectors of the economy and that's why you've reached these
19 very high numbers.

20 But at the low end, at the 25,000 roughly
21 megawatt hours of additional energy demand, renewable
22 energy demand by 2030. And at the high end, as much as
23 108,000 megawatt hours, which does seem very high indeed.
24 I'll say these numbers, that range in capacity factors is
25 anywhere from 7,000 megawatts to 31,000 megawatts at an

1 average capacity factor of 40 percent. It gets a lot into
2 which kind of technology you're assuming, so it's difficult
3 to make generalizations. Those mid-range figures are more
4 in the 10 to 16,000 megawatt range for, let's say, the 53
5 and 81,000 megawatt hours.

6 I won't get into where the renewables are, but
7 I've got some conclusions. We had a significant
8 stakeholder process to update existing information,
9 determine where not only what's the latest and greatest on
10 the costs and value of different renewable technologies,
11 but also asking developers and utilities where is their
12 commercial interests?

13 And then asking what at this point is somewhat
14 academic, studies are our best source about how to put
15 together portfolios that might make the most sense for the
16 state overall, utilizing the technological and geographic
17 diversity that could help us meet these goals at an overall
18 lowest cost. So we collected information regarding those
19 optimal portfolios as well.

20 And we built off of some existing studies the
21 Desert Renewable Energy Conservation Plan and the San
22 Joaquin Valley Solar Convening, which were very much land-
23 use based projects. But had a lot of good information
24 about where the resources are as well.

25 And our conclusions about, and I'll just hit

1 these briefly, but the first is the low-cost solar is
2 ubiquitous. And common across the state and low cost, but
3 it does raise some long-term integration challenges for
4 which there are many options that would allow integration
5 of solar energy. But a consistent finding is that resource
6 and technology diversity and exports are amongst the
7 cheapest options (indiscernible). Many options for solar
8 integration, but diversity and exports are amongst the
9 cheapest.

10 About wind, one of our strong initial conclusions
11 is that the remaining in-state wind resources may have some
12 challenges regarding environmental feasibility and
13 transmission access that are very important for the state
14 to figure out sooner rather than later. If that is indeed
15 a resource that will be important for our long-term
16 portfolio, determining that feasibility and access, is a
17 priority. And it's one of the tracks that we have taken on
18 during the RETI 2.0 process.

19 Geothermal energy, we understand that may be an
20 important component of a overall portfolio by 2030, but
21 more work is necessary on cost and benefits. And some of
22 that is ongoing, especially at the CPUC. And transmission
23 access is one important component of this costs and
24 benefits of geothermal, so that's another aspect that we
25 can take on through the RETI 2.0 processes is eliminating

1 some of that transmission access issues.

2 And finally, one of the conclusions that was
3 generated by our work on where the renewables are, is that
4 when environmental and land use screens are applied, the
5 overall effect tends to be favoring in-state solar
6 development and out-of-state wind development. This
7 obviously relates to that previous point about the
8 environmental feasibility of wind, the remaining wind, in-
9 state wind resources.

10 And lastly, I mentioned this already, one
11 conclusion that was emphasized for us a number of times
12 during our stakeholder outreach was that better
13 understanding the out-of-state resources should be a
14 priority for this state. There seems to be many high-
15 quality, low-cost resources out there, but our
16 understanding needs some help. And the export options in
17 particular are very important in understanding what markets
18 may be an export opportunity for the state's surplus
19 generation at certain times. It should be a priority.

20 This led to our Transmission Assessment Focus
21 Areas. And this is what you'll be hearing more about
22 today. I'll first draw your attention to the colored areas
23 on the map. Those are regions of the state. In the south,
24 it's the California desert area -- very much similar areas
25 to those covered by the Desert Renewable Energy

1 Conservation Plan -- both Imperial and Riverside Counties
2 down in the far southeast there and then the Kern, Northern
3 Los Angeles County, Inyo and San Bernardino Counties, just
4 south of San Joaquin Valley -- San Joaquin Valley being the
5 area in green -- and Northern California, everywhere from
6 the Bay area down up to the Oregon border, in the purplish-
7 pink area.

8 And within those there were focuses in the more
9 southernly regions. Those are based on where the
10 renewables are currently as well as the areas studied under
11 the DRECP or the San Joaquin Valley Solar Convening.

12 And then up in Northern California, because there
13 has not been that local land-use planning effort we were
14 really basing this to a large extent off of the wind
15 resources. This is many of these are the areas in the
16 state with the highest potential remaining wind resources
17 and we wanted to study further the implications of any
18 development up there.

19 And then the red circles you see are what we
20 termed the import-export paths. That is if power is being
21 delivered to the border of the California balancing
22 authority, such as the ISO at Eldorado Valley in Southern
23 Nevada, the Palo Verde-Delaney hub in Western Arizona or
24 over the California-Oregon Intertie with what impacts would
25 that kind of import have on the California system, what

1 transmission implications might be? And then there are a
2 few smaller paths up there in very Northern California.

3 These are the ranges that we asked the working
4 groups to evaluate. These are hypothetical additions to
5 new renewable resources for planning purposes, basically
6 asking a hypothetical "if" up to 5,000 megawatts of new
7 resources were developed in Imperial Valley then what would
8 be the transmission and environmental implications? So
9 that's the question we're asking for each of these areas.
10 And our groups have done a great job so far in developing
11 some new information to inform that. It's still ongoing,
12 we hope to get some more refinement of those conclusions,
13 but you'll hear some preliminary results today.

14 And the last Transmission Assessment Focus Area,
15 are really the resources around elsewhere in the west and
16 what's the capability of the transmission system to deliver
17 those to California? And these circles represent areas
18 that were specifically mentioned to us by stakeholders.
19 Obviously, there are some areas around the west that are
20 not circled there, because we didn't hear about it early
21 on. But now that we're doing this Western Outreach we're
22 starting to hear more about some of those other resources
23 and their availability, which is great. We welcome that.
24 You can see the particular resources that were mentioned
25 there.

1 Other questions that we're asking during this
2 process that are important are what are resource changes in
3 other states, such as coal plants retirements or changes to
4 hydro energy dams, changes to their operations, what
5 implications could that have for transmission, also these
6 markets for California surplus power? And then a
7 comparison of out-of-state delivery projects and out-of-
8 state network projects -- these are just a way of
9 categorizing different transmission projects that are being
10 proposed elsewhere in the west.

11 So that concludes getting us up to speed about
12 what we were asking, how we identified the TAFAs, and then
13 what we asked of our working groups. And here's what we've
14 asked and what has been completed or is ongoing and you're
15 about to hear about that.

16 The Environmental Land Use Group is doing an
17 assessment of the implications of generation and
18 transmission scenarios. There is an environmental
19 analysis, a land-use assessment survey of county and land
20 use planners. We are doing tribal outreach and
21 consultation with the military and finally, a federal
22 coordination in particular with US BLM on their on their
23 West-wide Energy Corridor Overview.

24 The Transmission Technical Input Group is doing a
25 transmission assessment -- you'll hear about that today --

1 on both the existing state system capability, the bulk
2 system impacts, new generation or imports, and potential
3 mitigations and corridor options.

4 And then finally our third track, which is
5 relatively new is the Western Outreach Project, the
6 capability of the transmission system outside of the state
7 to deliver from these high-quality renewables elsewhere in
8 the west, as well as deliver from California, surplus power
9 and types of over-generation here.

10 So that's setting us up for what you're about to
11 hear from. I'm going to turn it over first to the
12 Environmental & Land Use Technical Group, who'll walk you
13 through their activities and some preliminary results.
14 Then we'll hear from the Transmission Group and then
15 finally from the Western Outreach Project.

16 So Scott Flint is our Staff Director for the
17 Environmental Group.

18 MR. FLINT: Okay. Thank you, Brian. Good
19 morning, everyone. So we have a presentation to report on
20 several aspects of the Environmental and Land Use Technical
21 Group coming up here next.

22 So just a reminder slide here, Technical Group
23 contributions, the Environmental Land Use Technical Group
24 was set up to identify, compile, document and make
25 available statewide data and where feasible west-wide data

1 relevant to renewable energy planning this was
2 environmental land use data.

3 Discuss and recommend methodologies to use the
4 assembled data to assess combinations of areas and to
5 evaluate those areas for environmental sensitivity in land
6 use considerations.

7 And work interactively with the RETI Plenary
8 Group to do so. So that's the point where we're just coming
9 to now, implementing number three.

10 So to report out on the several aspects of our
11 work I have Eli Harland with me here from the Energy
12 Commission's Transmission Office. And I also have Thomas
13 Gates from the Energy Commission Siting Office Cultural
14 Unit. Eli will speak about the work we've been doing with
15 the counties and county outreach and the county data that
16 we are becoming aware of and getting access to and
17 collecting.

18 And Thomas Gates will speak about the
19 consultation with Native American tribes. And between
20 those two I'll give an update on the environmental work and
21 the overall work of the data and information site that
22 we're putting together to help document and provide data
23 for this process.

24 So Eli, I'll let you take over.

25 MR. HARLAND: All right. Thank you, Scott.

1 And good afternoon, my name is Eli Harland. And
2 as Scott indicated I work in the Siting and Transmission
3 Environmental Protection Division of the Energy Commission.
4 And I have been assisting with supporting RETI's efforts in
5 gathering county information that may help us better
6 understand potential development patterns or scenarios of
7 renewables in the future.

8 So what we did is look back at the RETI Work
9 Plan. And we really saw that it's acknowledged in the Work
10 Plan that county processes -- whether they're land use
11 process, polices, politics -- can influence the patterns to
12 some extent of how renewables are developed in California.

13 So what we did is we looked at the TAFAs that we
14 had created and looked at those areas within the state that
15 were important for us to analyze and began to develop a
16 county contact list of county planning staff to begin
17 engaging with that planning staff. And to identify who it
18 is that we're going to be working with as we go through.

19 We reached out to a little over half of the 58
20 counties in the state initially. We did this through an
21 email invitation that Brian Turner, the RETI Director, sent
22 to these counties. And we had initially in that email
23 introduced RETI. We included a "save the date" for an
24 upcoming public meeting that we are planning with counties.
25 And we also invited those counties to participate in two

1 webinar meetings that we would host. And the purpose of
2 those webinar meetings was to have a place where we could
3 orient counties to RETI and educate them on what we are
4 doing and what we were hoping to find and then also to
5 start preparing for that public meeting that we had
6 scheduled for the end of July.

7 So between both webinars with those counties we
8 had about 15 folks attend. We didn't gather as much
9 information I would say from the initial outreach as we had
10 hoped. And we have been continuing to work on gathering
11 information and that information does continue to come in.

12 So I am going to go through kind of some of the
13 general things that we found occurring in counties. And
14 then a few of the counties that have participated in our
15 workshop as well as coordinated with after, or that we've
16 been coordinating with whether through email and phone
17 calls, I'll just kind of go through what we've learned
18 there. And then touch on some next steps and some of the
19 kind of preliminary findings I guess that we've had from
20 some of our outreach.

21 So we know that a lot of work has been done with
22 the Energy Commission and agencies here with counties in
23 the desert. Especially those counties who have a lot of
24 experience with projects on their own as well as planning
25 processes like the DRECP, so engaging with those counties

1 really was something that we, is a relationship, we've had
2 for a long time. So building it wasn't something we had to
3 do at the start of this, we just built off of those.

4 And we had some interaction and engagement with
5 some of the Northern California counties, so the TAFE that
6 Brian shared, that started the Sac River Valley, we had
7 some engagement from Lassen, some from Modoc and Tehama.

8 And I think we really want to try to keep
9 focusing on getting information from some of the San
10 Joaquin Valley counties. We know that they have a lot of
11 experience, obviously, with renewables development and they
12 have those resources there and counties who were engaged in
13 the solar San Joaquin effort last year.

14 And so our next steps for outreach are really to
15 cultivate the relationships with those counties, so that we
16 can begin to understand better with how they see the future
17 of their counties and some of their land uses and their
18 visions for renewable energy development for their
19 counties.

20 And we also, in the process, we heard from the
21 conservation parties who are the Nature Conservancy, and
22 the group, the Sierra Club. And their comments basically
23 were continue to work with counties. We think this is the
24 right start within RETI. And they suggest that we continue
25 to incorporate some of the questions that we had asked

1 counties within the RETI analysis.

2 And I do want to point out too that the Sierra
3 Nevada Conservancy was pretty active in our county outreach
4 because of their relationship to the local governments
5 within the Sierra Nevadas. And they've also suggested that
6 we make sure that we include a look at bioenergy and some
7 of their strategies for the Sierras. Obviously, the size
8 of some of their facilities and their resource size is a
9 little different that we're assessing in RETI. But I
10 thought I'd make sure I bring that to your attention.

11 So Imperial County's one of the first counties
12 that I'll talk about. And so their county presented back
13 in March at the Plenary Group meeting. They also presented
14 again at our July 21st ELUTG meeting that focused just on
15 county participation. We don't have a comment letter
16 summarized from Imperial, but between both of those
17 presentations I think we understand their county pretty
18 well.

19 The County did recently complete a General Plan
20 Amendment and adopted that General Plan Amendment earlier
21 in the year. The amendment was supported by a California
22 Energy Commission grant program to help facilitate local
23 land use planning within the desert region. And so the,
24 County, as part of that update to their General Plan, they
25 identified a overlay zone, they've created an overlay zone

1 for renewable energy.

2 The map's a little hard to pick out, but the
3 green up around the sea or the cross-hatch green up around
4 the sea and then the cross-hatch green through the larger
5 light green there, that's some of their renewable energy
6 results. So it's 69,000 acres specifically for geothermal
7 development and an additional 131,000 that could be
8 available for solar, geothermal and other renewable
9 technologies.

10 The County emphasized during their presentation
11 to us, both in March and again in July, that renewable
12 energy for them is really something that they can use to
13 help balance some of their water use, to achieve some of
14 their water use goals by helping to kind of rebalance the
15 way the land may be used. And economic development's
16 another priority for the County. And they see renewable
17 energy as something that can help drive economic
18 development of their county.

19 Kern County also participated in our July 21st
20 ELUTG meeting. Kern County made a few recommendations
21 during that meeting and gave us an update on where they are
22 with their planning. Kern County has a lot of experience
23 with planning and permitting renewable projects and so they
24 have been a really able resource and willing to
25 participate.

1 There were some specific recommendations during
2 the County planner's presentation that were delivered to
3 us. And so one of those that I wanted to highlight from
4 their planner was the recommendation to look into or
5 possibly improve planning for interties to substations,
6 that the context for that and the comment was they have had
7 some experience where some of their access to substations
8 might get locked up. And so the recommendation was, "If
9 you're looking forward into the future it's something to
10 consider and think about is ensuring that you can access
11 the system."

12 The other comment that was made during the
13 workshop -- and it's actually also consistent with a letter
14 that the County submitted in the docket -- and so the
15 County has recommended that RETI consider including an
16 analysis or at least data or information on map layers that
17 would show critically over-drafted water basins throughout
18 the state. In their recommendation I guess in that comment
19 -- they have a comment letter that goes with that -- and
20 they specifically called out a community that has a water
21 basin that's critically over-drafted. It's in the Indian
22 Wells Valley. And the comment essentially or the
23 recommendation is for a special study of that area.

24 The County doesn't indicate the type of process
25 that that would be or where that special study takes place,

1 but they wanted to just make sure that RETI and the energy
2 agencies were aware of work they're doing there to
3 rebalance some of the land uses to essentially help solve
4 some of their overdraft issues. And they see solar
5 development as one of the key things you can develop on
6 some of those lands to help balance those.

7 So the letter is available in the RETI docket.
8 And the County did indicate to us that the Board of
9 Supervisors they have actually approved that letter. So I
10 think the copy you see in the docket was from the Planning
11 staff and that letter has now been approved by the Board.

12 San Bernardino County also participated in the
13 ELUTG workshop. They gave a brief update on where they are
14 with planning for renewables. The County recently released
15 a Draft Renewable Energy Element for their county. And
16 they are currently in public review for that, seeking
17 public comment. And in the workshop they gave a very brief
18 update that that's where they are with that draft element.

19 The County also submitted a comment letter into
20 the RETI docket following the workshop. And they remain
21 interested in participating in statewide energy planning,
22 to stay engaged. And they definitely want to make sure
23 that the RETI process reflects, or that we reflect comments
24 that they have made on other statewide venues like the
25 DRECP, and developing that.

1 And there is some confusion that the County
2 expressed in their letter over the differences between
3 DRECP and RETI. And I think that it would be one of the
4 findings you'll see presented, because that was a comment
5 some other counties had too was, "What does RETI mean for
6 the County and where will this move going forward?" So I
7 think that it's important as we think about presenting RETI
8 that we know how to present that to counties.

9 So Northern California counties, Yolo County, in
10 the past they developed a pretty large wind ordinance and
11 went through a lot of work to do that. They were
12 anticipating large commercial wind development. And the
13 county planner, essentially said he hadn't seen that or
14 experienced that yet, so I think the words he used were
15 that they possibly over-planned in the past expecting that
16 development. But they do have an ordinance in place and
17 have some experience with some smaller DG projects and some
18 project proposals, but the County hasn't gone through any
19 extensive public review of large projects.

20 And they did note that Williamson Act in their
21 County could be an issue with solar. And so they've had
22 some issues with findings of compatibility. But we didn't
23 go too much into how that would work and exactly what the
24 outcome would be of projects proposed in that area of the
25 Williamson Act.

1 And Lassen County also participated briefly in
2 our workshop. We've had some follow-up. They have had
3 some commercial interest as well as some development in the
4 past. Most of that's been wind in the past. And they do
5 point out that they've had an energy element for a pretty
6 long time in their general plan and that the last update
7 was in 2003. They have considered looking into updating
8 that element, possibly. And so they don't have a schedule
9 for that, but it is something that there is some vision and
10 support for it at the county level.

11 And they did note that there could be eagles and
12 sage grouse impacts potentially as well as visual and
13 scenic, just kind of depending on where projects are sited.

14 And Modoc County and Tehama County, those are two
15 counties that have also followed up with us through phone
16 calls and through emails, so we've been working with them
17 to gather information. Tehama County did note that they've
18 had a lot of growth in distributed generation over the
19 years and they continue to see a lot of investment and
20 distributed growth.

21 And they also made a comment that we should
22 revise the renewables assumption down a bit for their
23 county based on having a large amount of county Williamson
24 Acts, environmental sensitivities within their county.

25 So these are a report out of what we heard from

1 those counties and key findings. I think that keeping
2 information current and coordinating planning, it really
3 requires time and resources on the counties' part. That's
4 one thing that we did hear from counties.

5 And we also, as we look at this, we're pretty
6 much looking for spatial information, because we're trying
7 to present county information just as we are with the land
8 use information spatially. We find that sometimes that's
9 difficult to do if counties are using a standards-based
10 approach and not necessarily creating an overlay zone or
11 zoning something. So that's another finding is that it
12 kind of goes both ways and there could be a challenge in
13 trying to display a standard based.

14 And counties are definitely interested in
15 understanding the next steps for RETI 2.0 and what that
16 means for their counties.

17 For us we're continuing to add county data in the
18 DataBasin as we have it, so the Imperial maps that I showed
19 earlier, that data is being added to DataBasin and will be
20 made available as part of RETI. The work that Inyo County
21 has done, Inyo County's developed some overlay zones as
22 well and we'll incorporate those. And then the county
23 information we gather, whether it's spatial information or
24 a narrative of what's happening with the county, we want to
25 organize that by TAFAs, so that we can geographically

1 present that. So that's the county update for now. And as
2 we move into Phase 3 we'll continue to populate that data.

3 So I don't know if we're going over questions
4 now, Brian, or if we're -- keep going? Yeah.

5 So I'll invite Scott Flint back up to talk about
6 the environmental side of things.

7 MR. FLINT: Okay, so a little update on the work
8 completed through Environmental and Land Use Group and what
9 we have available now to use. So all of the data that
10 we've assembled statewide, we've assembled several hundred
11 environmental data sets. And we have made them available
12 in a gateway on the Conservation Biology Institute's
13 DataBasin website. So that information is compiled and
14 available to folks there and it can be viewed.

15 Several hundred data sets in and of themselves
16 aren't really very useful to evaluate anything, so we've
17 put those data sets together into right now nine primary
18 environmental categories, so we have that data organized
19 that way under those categories. And also organized into
20 an overall logic map that interprets that data, so you can
21 look at it on one particular map surface and use that to
22 evaluate whatever you decide to look at against the data.

23 So we've identified this environmental focus for
24 the data sets and we've identified a reporting format for
25 what the data would look like when it comes out.

1 The nine groupings that we have now are these
2 groupings. We've talked about them in previous meetings.
3 I won't go into much detail here, but essentially a couple
4 examples we have maybe 20 data sets that go together into a
5 direct terrestrial landscape intactness data set. You can
6 see the individual layers there.

7 But you can use the resulting overall map for
8 terrestrial intactness to evaluate a site's disturbance or
9 amount of disturbance at the site, so that could be part of
10 your evaluation with that particular data set. And that's
11 been relatively important in siting renewable energy and
12 other projects too, because it typically represents areas
13 that will have lower biological conflicts. So that's why
14 we've selected that sort of thing.

15 So we have a logic behind each set that we've
16 selected. These are the nine that we have selected, but
17 we'll be adding some more that we'll talk about related to
18 land use.

19 So as Eli just covered we will be adding some
20 additional information on land use. We will be adding a
21 specific map of more information from the DRECP counties.
22 We'll be adding general information on land use, so that we
23 can get a report out on potential land use implications for
24 evaluating of potential generation areas or potential
25 transmission corridors.

1 We also are putting in a statewide agricultural
2 and land use set. So when we can tease out a little more
3 information related to agricultural land that might be
4 identified, and that's in particular to its status with
5 farmland importance and also the Williamson Act, that gives
6 us a little more information that comes to bear when we're
7 looking at areas that potentially might have renewable
8 energy on them.

9 And then we have several federal land use plans
10 that we will be putting in there once they are completed
11 and available.

12 So already assembled on this site, this is what
13 the site looks like. You can go here now. It's
14 <https://reti.databasin.org>. You can go here and see the
15 data assembled and the overall rollup maps in those nine
16 categories. Right in the middle of the page there's a base
17 map to get you started. You can click on that and there's
18 a lot of the data is already loaded there. Then you can
19 start turning the data off and on and assessing it from
20 there.

21 What we have coming out next and what we set up
22 to report out information in this process is an
23 Environmental and Land Use Reporter. So this has two
24 elements. One is the element of what you would see on the
25 screen, so the idea here I just wanted to give you a couple

1 examples. In those nine categories of data that we looked
2 at earlier you can essentially go into the system and draw
3 an area by hand. Or you can import into the system a set
4 of areas that are derived however you want to derive them
5 in GIS format and load them in and run them against the
6 environmental data.

7 Here you see an example of an area that is run
8 against some species information. So you will see on the
9 screen you can interact with this information. This of
10 course is a static picture, but on the screen you can zoom
11 in and out, you can click on things and see specifically
12 what they are. And as you manipulate or drill into your
13 map on the right the information changes for you on the
14 left interactively on the screen. So you can drill in and
15 look at all of the data that is available there as a basis
16 for what you are screening or looking at.

17 A different category, protected areas, it's the
18 same sort of thing. You have an area. In this case it
19 tells you what specific area is in there, what its status
20 is and even the size of those areas. And so instead of
21 just recording size we also have the map to see where it
22 actually occurs within the particular site you might be
23 evaluating. So here you can see the purple area in the
24 lower right is a protected area that shows up inside of
25 this area with where we're evaluating. And so you get the

1 information on the top left about what that is and how big
2 it is versus the overall area.

3 You can do the same sort of thing with the
4 terrestrial intactness, essentially reading disturbance.
5 Here, dark blue is highly disturbed and green is not.

6 Same sort of thing, you can get the report out on
7 the different categories of intactness and how much of it
8 occurs in your area. And you can also see how it's
9 distributed on the map, so that's the key way we have set
10 this data up to read out against areas to evaluate. So on
11 paper you can print these out on paper and you capture the
12 same results. They look a little different, but it has a
13 little more information, explanatory information with it.

14 So again, here is the same thing. It looks a
15 little different here, but the protected areas readout for
16 that area, that's highlighted in orange on the little map.
17 So you get the map and the information. Terrestrial
18 intactness, it's the same thing. It's just a slightly
19 different set of information.

20 So you're able to do that for each of the nine
21 areas that we've outlined. We will be able to do that when
22 we add the land use elements also and the agricultural
23 elements for those elements. And what we've done in
24 building out this new statewide data sets have added to our
25 capability to assess sites outside of the areas already

1 assessed by the DRECP, which is the purple area down at the
2 bottom right of the screen.

3 And in the San Joaquin Valley convening exercise,
4 which is in the middle of the state we can now do similar
5 high-level assessments of areas in a similar fashion to the
6 way they were assessed in those two longer processes by
7 using this report writer and data sets that have assembled
8 on DataBasin.

9 So that's up and ready to run. We're ready to
10 input sites as they are identified, either potential
11 generation areas or potential transmission corridors. We
12 are able to run them and generate some issue reports from
13 the system for the nine elements that we have there now.
14 We have additional work going on to add the other elements
15 to land use and build out the land use module for this
16 report. And then we are still updating and finalizing a
17 few data sets on all of the categories, but those should be
18 available soon on the site.

19 And the way the report writer is set up now we
20 can access and run that and bring back the reports. And
21 there will be another step required too, of course. If you
22 look at a TAFA, if you look at a series of areas that
23 you're interested in TAFA for potential generation, for
24 even potential transmission corridor, you can run those in
25 the tool. But then you need to come back and do a little

1 interpretation and summarize and have a narrative of what
2 those things mean. They're not spitting out the final
3 answer, so there's a little work left once we run the
4 areas.

5 So that's what we've generated, that's where we
6 are and that's the work that we have done to complete this.
7 We should have it done by the end of this month with the
8 additional data sets and the additional report modules.

9 And that's it.

10 CHAIR WEISENMILLER: Okay, Scott, a couple of
11 questions before we move on?

12 MR. FLINT: Sure.

13 CHAIR WEISENMILLER: First one is do we have
14 anywhere online a webinar for folks who want to get sort of
15 the how to use the model?

16 MR. FLINT: Well, so right now, Chair
17 Weisenmiller we are working interactively with the group,
18 so we can schedule webinars with them and walk them through
19 it.

20 We do have general tutorials on how to use the
21 site. They are available on the DataBasin website.

22 The Report Writer part that I just showed, we
23 don't have turned on for the public yet. When we turn it
24 on we will schedule a webinar for the folks who are
25 interested and participating in the Environmental and Land

1 Use Working Group.

2 CHAIR WEISENMILLER: Okay. So if we can at least
3 make sure going forward we post it online and sort of
4 follow up from this webinar, so people can use it to get
5 introduced to the tool would be good.

6 MR. FLINT: Yes, definitely.

7 CHAIRMAN WEISENMILLER: And in terms of
8 environmental data, I was going to ask if we do have any
9 data on overdraft?

10 MR. FLINT: We have some --

11 CHAIR WEISENMILLER: With the layers?

12 MR. FLINT: That's something that we are looking
13 at. We don't have it in there now. We did collect
14 information related to the groundwater situation in San
15 Joaquin Valley, we do have that. We do have information
16 from the Draft EIR/EIS or DRECP, so we can build and
17 incorporate that information, but we have not put that
18 together yet statewide.

19 CHAIR WEISENMILLER: And subsidence?

20 MR. FLINT: Same situation as that.

21 CHAIR WEISENMILLER: Same situation?

22 MR. FLINT: We have some info, particularly in
23 San Joaquin, but not statewide yet.

24 CHAIR WEISENMILLER: We're also obviously having
25 huge tracks of the state are being hit by fire, which have

1 some degree a sensitivity going forward, at least in the
2 short term. So do you have any way of on the environmental
3 data tracking, the areas that have been most -- I don't
4 know if it's the last two years, five years or what the
5 right metric would be -- by fire?

6 MR. FLINT: That would be easy to add, yes.
7 That's already in DataBasin. We can add it into this
8 gateway really easily and straightforward.

9 CHAIR WEISENMILLER: Okay, thanks.

10 Anyone else?

11 (No audible response.)

12 Okay, thank you.

13 MR. FLINT: Okay, Tom?

14 MR. GATES: Good afternoon, my name is Thomas
15 Gates. I'm with the California Energy Commission. I'm the
16 Tribal Liaison and also the Supervisor of the Cultural
17 Resource Unit in the Siting Division. I'm here to give you
18 an update on where we are with our efforts to consult,
19 outreach, contact tribes.

20 I want to remind everyone that back in October
21 when we kicked off the RETI 2.0 with a workshop we sent out
22 notices to tribes about that workshop. So we sent those
23 out to both recognized and unrecognized; I think the number
24 was 184 notices.

25 From that effort we only got one response, one

1 tribe showed up at the workshop. So when we got to another
2 layer of information with the TAFAs we thought we'd refresh
3 our efforts to go out to the tribes. We narrowed down the
4 number of tribes we contacted, because the TAFAs -- that
5 first effort was statewide for all the tribes -- with the
6 TAFAs we narrowed it down. So instead of sending out
7 letters to 184 tribes we sent them out to, I think, 96 or
8 97 tribes. And that number can change, it looks like we
9 also double-counted, so somewhere in the '90s is what we
10 sent out.

11 And that letter went out July 15th and since then
12 up until just last Friday our staff, three of us have made
13 an effort to call, email every tribe that we sent out one
14 of those letters to on July 15th. So what I'm really here
15 to do is present based upon making those calls last Friday
16 to give you guys some idea of where we are with those
17 numbers.

18 So what you have in front of you is an image, a
19 map that shows you which tribes we renewed our consultation
20 with based upon the TAFAs. You'll see here the tribes in
21 green are those that we initiated consultation with. As of
22 July 15th the ones in purple are the ones we did not
23 initiate consultation with. The orange is the ancestral
24 territories as those would overlap with the TAFAs. So that
25 just sort of gives you an image of who we were trying to

1 talk to in this recent iteration of contacting tribes.

2 So of those contacted we have sort of the types
3 of responses. So non-response, not interested, awaiting a
4 further response, or interested. I'll give you some
5 breakdown of that: of the non-response, 47 percent of the
6 tribes non-responsive. That is, we have sent them a
7 letter, we have called them, left a voice message, we have
8 sent them an email and nothing has come back. The not
9 interested, 2 percent, so I think 2 tribes said, "Thanks.
10 We're not interested. Don't bother us anymore."

11 Awaiting response, 35 percent, so this is a tribe
12 that says, "Huh? Can you resend us the letter? Oh yeah,
13 this looks interesting. We'll take it to our Tribal
14 Council. If we have further information, we'll get back to
15 you." So we're just not sure with that 35 percent where
16 that tribe is at.

17 That leaves the interested tribes at about 16
18 percent. So this is 16 percent of 96-97 tribes. Of those
19 that are interested they also tend to be the tribes that
20 we've already engaged with either through the DRECP or
21 through the San Joaquin Valley least conflict exercise, for
22 the most part. And those tribes, their interest is
23 generally, "We are interested. Keep us informed. Let us
24 know when the next benchmark or the next milestone is
25 achieved." That's one type.

1 Another type of interest is, "We have lots of
2 questions about this. Can you give us more information?
3 Can we have a better map? Can you show up with staff to
4 meet with our staff and talk out some of the nuances of
5 this exercise that we're currently going through?" So
6 that's sort of have more questions.

7 There's a standard voiced concern for biological
8 or cultural resources impacts that you can almost
9 anticipate in talking to just about any tribe. So we've
10 gotten some of that as well. Again, those types of
11 comments tend to come from tribes either in the DRECP area
12 or in the San Joaquin Valley.

13 An interesting thing for staff was a small set of
14 tribes, I just think the number is around four or five of
15 the interested are expressing at some sort of desire to
16 engage with a need for them to get some sort of
17 transmission or substation focus for their ideas about how
18 they would like to contribute renewable energy resources
19 into the grid. So we haven't done much in talking about
20 that with those tribes to actually explore what are they
21 planning, or are they just thinking? Do they actually have
22 a project?

23 But for us at the staff level that was an
24 interesting sort of comment. We normally expect "No."
25 Albeit when staff calls tribes oftentimes we're talking

1 about a project that we're trying to site, so there's a
2 different set of concerns. This is the first time we've
3 heard tribes say, "How can we participate in this as well?"
4 So that, at least from staff's perspective is a refreshing
5 type of dialogue, which we have yet to engage in.

6 So that's how those break out. And I would say
7 of the 35 that we are waiting to hear back they probably
8 will break out in a similar way where about 35 percent --
9 there'll probably be 16 percent that'll be interested. At
10 the end of the day I think we'll end up with about probably
11 somewhere between 20 and 30 tribes out of a total of 194
12 that we initially engaged with that are interested in some
13 level or aspect of this process.

14 So that's where we are to date and continue to
15 chase the emails and phone calls. Thank you.

16 MR. TURNER: Great. So that was several
17 different tracks within our Environmental and Land Use
18 Technical Group.

19 One more piece I should mention, Jim Bartridge
20 from the California Energy Commission's Transmission Office
21 isn't here today, but he's been leading up some military
22 consultation. Just making sure we're in touch with the
23 services and DOD. And we've both been involving them in
24 how we run and identifying the TAFAs. And also reiterating
25 or confirming their projections for renewable energy

1 production on base or what their aspirations are and
2 fitting that into the work that we've been doing. So that
3 consultation is ongoing.

4 And I'll just note a couple of the common themes
5 that we've been hearing from some of this local outreach.
6 I think one very interesting one is this water, land use,
7 energy connection in several different contexts, whether
8 it's Imperial, Kern, San Joaquin, where local agencies or
9 other stakeholders are saying that the changes in water use
10 and its impacts perhaps are opening up land for energy
11 production, which they would like to consider.

12 And then this other conclusion that I would put
13 forward that we've heard from several different sectors as
14 well, local counties, environmental stakeholders and tribes
15 regarding a desire for local transmission, kind of
16 collector level, inter-connection level planning. How can
17 we think about the resources in our community affecting
18 that on the grid, which has not been a focus of RETI 2.0.
19 But may be a conclusion that we'd like to pose to you at
20 the end of this process?

21 Any questions regarding the environmental land
22 use discussion?

23 (No audible response.)

24 We're going to move on to the Transmission
25 Technical Input Group now. That's Neil Millar from the

1 California ISO has been leading that project in cooperation
2 with all the transmission planners in the state, so Neil?

3 MR. MILLAR: Thank you, Brian.

4 And thank you. I will be touching on some
5 background here. And then we'll be turning it over to
6 Sushant Barave of the ISO and Nisar Shah from ZGlobal
7 representing the Imperial Irrigation District to touch on
8 some more detailed work as I get deeper into the
9 presentation.

10 So first off by way of background the objective
11 of the Transmission Technical Input Group was to assemble
12 the relevant in-state and out-of-state information, both on
13 the capabilities of the existing system taking into account
14 planned upgrades. As well as to gather an assessment of
15 the technical requirements it would take to achieve the
16 broader goals established through the Plenary session. And
17 to attempt to put some reasonable cost estimates around
18 that work.

19 As Brian indicated the Transmission Technical
20 Input Group was made up of the parties that already had
21 NERC-registered transmission planning responsibilities
22 within the state as the starting point to collect the
23 information both from their own organizations as well as
24 other parties who provided information through our
25 stakeholder processes.

1 The key deliverables for the group first was to
2 collect the existing and planned system capability
3 information. That work also rounded up preliminary input
4 on various out-of-state projects that could deliver
5 renewable generation to California. That work was the
6 basis of the Interim Report that the TTIG issued on June
7 9th.

8 The next step was to move with the assessment of
9 the initial transmission input based on likely developments
10 necessary to access the potential renewable generation
11 development that was explored through the Plenary Group.
12 That initial set of work has been completed. It was
13 presented to stakeholders in a separate workshop on July
14 29th and that material forms the bulk of what we'll be
15 presenting today.

16 The other item about the third deliverable here
17 on potential WECC-wide system reinforcements, that work
18 started through the initial work developed by the TTIG and
19 is now being carried forward through the out-of-state
20 outreach that Brian already talked about.

21 After this work is summarized the next task for
22 the TTIG would be to work interactively with the Plenary
23 Group and continue to refine that work and provide any
24 additional input as necessary through September and
25 October.

1 Just to remind people some of this work you've
2 seen before, but I'll step through it very quickly just to
3 make sure we're all on the same page. The initial set of
4 work focused on the existing system capability.

5 We first looked at that issue, assuming that
6 resources were necessary to provide capacity such as they
7 could participate in the state's renewable resource
8 adequacy program, that those resources were deliverable.
9 The conclusions from the work coming out the ISO's 2015-16
10 Transmission Plan was that there is additional
11 deliverability available on the system, but not enough to
12 reach the 50 percent renewables target.

13 We also explored the capability of the system to
14 deliver "energy only" capability. This is where resources
15 would be exposed to a higher level of curtailment, but we
16 were looking at a level that would not be prohibitive. And
17 what we found was that there was a great deal of capability
18 on the system to deliver "energy only" resources. And at
19 the time we were looking at curtailment in the less than 3
20 percent range, which we saw as being a manageable level.

21 So to reiterate, I think, some comments that were
22 made earlier, this challenge is not about if we can get
23 there, but it's more a question of what choices will we
24 make in how to get to the 50 percent or beyond.

25 Now this is a point where I will turn the

1 presentation over to Sushant Barave from the ISO to walk
2 through the preliminary assessments made of the
3 Transmission Assessment Focus Areas.

4 MR. BARAVE: So my name is Sushant Barave, I work
5 in the Infrastructure Planning Group at ISO with Neil
6 Millar. And first off I'd like to thank TTIG for this
7 collaborative effort.

8 ISO facilitated it and we received a lot of
9 useful, constructive input from all the planning entities.
10 And that information has gone into identifying transmission
11 implications for a resource ranges that were identified by
12 the Plenary Group.

13 Now the following few slides I'm going to be
14 summarizing for all the TAFAs, Transmission Assessment
15 Focus Areas, what would be the transmission implications?
16 And depending on any specific questions we might be hearing
17 from other TTIG members as well.

18 Now this slide summarizes the resource ranges
19 that Brian has already talked about, so going from north to
20 south, in the north we looked at two Transmission
21 Assessment Focus Areas where on this map you will see them
22 clumped together as Northern California. It includes the
23 Sacramento River Valley TAFA and Lassen and Round Mountain
24 TAFA. And both of these add 3,000 megawatts in Sacramento
25 River and close to 2,500 megawatt study range in the Lassen

1 and Round Mountain area.

2 The next TAFA in the north area that we looked at
3 was Solano. And we were asked to look at a close to 3,000
4 megawatt study range in this area for identifying
5 transmission implications.

6 And after that is San Joaquin Valley. This
7 includes a Westlands area with a considerable amount of
8 solar potential and some (indiscernible). So we looked at
9 a close to 5,000 megawatt study range in this area.

10 Then coming into the Southern California
11 transmission system, Tehachapi was the next one where the
12 study range prescribed by the Plenary Group was 5,000
13 megawatts. Most of it was solar. This was somewhat of a
14 change from what we have seen historically, a lot of wind.
15 Moving forward solar development appears to be a dominant
16 resource here.

17 And the next focus area was Victorville-Barstow.
18 This was one of the more complicated focus areas, because
19 based on our prior or existing studies what we see is this
20 area is comprised of two or three independent generation
21 pockets that run into different types of transmission
22 constraints. And on the individual slides on each TAFA I
23 will walk through what are the implications of those
24 constraints and what sort of upgrades and order of
25 magnitudes is it that we are looking at.

1 The next one is Riverside. Again, here we were
2 asked to look at up to a 5,000 megawatt potential,
3 predominantly solar and about 1,000 megawatts of wind.

4 And the last focus area was Imperial. Here again
5 we looked at implications of adding 5,000 megawatts of more
6 resources. And it included solar, wind as well a
7 considerable amount of geothermal resources in this area.

8 In addition to these focus areas we were also
9 asked to look at imports and implications of bringing in
10 out-of-state resources into certain injection points within
11 the California Grid.

12 The first one was imports from the north, from
13 the California-Oregon Intertie. We looked at implications
14 of adding approximately 2,000 megawatts on this part.

15 Next was imports into the Eldorado-Mead-
16 Marketplace area -- any resources being delivered into this
17 area actually also impact the Riverside focus area.

18 And then there were imports on Palo Verde to
19 Delaney, the Palo Verde/Delaney Corridor and again, imports
20 coming in from the east, in Southern California end up
21 impacting all three focus areas: Victorville, Riverside and
22 Imperial. And I should also mention that these three focus
23 areas also have a considerable amount of interaction
24 between them. We have a couple of slides to set a context
25 for what that interaction entails for resource development

1 in these areas and how it interplays with the transmission
2 implication and then transmission constraints.

3 And there was another import path identified,
4 which was Northern and Central Sierra. But based on our
5 existing or prior studies this -- we don't really have
6 adequate information to comment on exact implications of
7 adding 500 megawatts. And the existing capability on this
8 corridor to bring in -- all the way into California -- is
9 very low.

10 This slide, again it's the same slide that Brian
11 talked about. But while we are on this slide one thing I
12 would like to highlight is these numbers. If these were
13 looked at as stand-alone numbers and worked out they would
14 impact a given focus area. These are not added though. If
15 you add those in, we would end up with a lot more than what
16 would be required for a 50 percent renewable net short. So
17 we looked at these numbers as separate individual studies
18 or relied-on studies that gave us implications on the
19 transmission system.

20 And that brings me to the point of interaction
21 between TAFAs as well. This is a conceptual slide that I'm
22 going to use to explain it where for example if we have
23 Area A, which we look at 5,000 megawatts and Area B we look
24 at 5,000 megawatts. And if our existing transmission
25 studies indicate that we have adequate capacity to

1 accommodate that level of resources in each area it does
2 not really mean that together we can accommodate 10,000
3 megawatts.

4 So it's a case where one plus one is something
5 less than two, because of a common transmission constraint
6 behind these areas. So their transmission capacity in the
7 resource development in Area A can actually limit how much
8 capacity we can have in Area B. And as a consequential
9 fact we also know that mitigating that common transmission
10 constraint can benefit two or more renewable development
11 areas.

12 Another point is the TAFE capability that I'm
13 going to talk about in the following slides. It was based
14 on an assumption of making these resources deliverable.

15 Now, why we had to make that assumption was
16 mainly because all our existing studies, most of our work
17 in TTIG, was based on existing studies and what we know
18 about the system today. That has already been studied in
19 our previous transmission plan for several entities that
20 have performed different studies. And the only studies
21 that have actually resulted into quantifiable or concrete
22 upgrades with some cost information were with an assumption
23 of fully deliverable resources.

24 The "energy only" study that we performed, as
25 Neil mentioned, last year we looked at a 50 percent energy

1 only study. And it indicated that there are no big red
2 flags in terms of accommodating that net short for going on
3 an energy only basis.

4 And so because of this interaction of TAFAs we
5 would also need more sophisticated and more detailed
6 studies if we want to narrow down on an exact mix of how
7 much resources should be in specific TAFAs. Theoretically
8 we could come up with an equation for Area A and Area B.
9 But I'm not sure if it's worthwhile, because there would be
10 other limiting elements, which are more important or more
11 limiting than just transmission in terms of development of
12 resources in each of those.

13 With that context I'm going to dive into each
14 TAFA, so on the next seven or eight slides you'll see two
15 high-level takeaways for each TAFA. So in our July 29th
16 workshop we had a more detailed presentation with all the
17 transmission constraints listed for each area. Here we
18 wanted to bring out what are the two most important things
19 that came out of our work and the studies that we have
20 looked at.

21 So for Northern California we looked at
22 Sacramento River Valley, Lassen and Round Mountain TAFAs.
23 How much can these areas accommodate today? And by today,
24 I mean that's with an assumption of all the planned and
25 approved upgrades, so based on information that we have

1 today.

2 In terms of deliverable amounts, we don't have a
3 good estimate for this area. The primary reason being in
4 our generation interconnection queues for the ISO as well
5 as other planning entities in the north there has not been
6 a whole lot of commercial interest. So we have not had the
7 opportunity to study large amounts of megawatt numbers in
8 these areas. So in terms of deliverability we don't have
9 an exact number.

10 For energy only capability we did look at this
11 area last year in our 50 percent special study and both
12 areas together, our estimate was close to 35-3,400
13 megawatts. But that is with an assumption of curtailment
14 of some resources as well as reduction in some of the
15 imports. With those assumptions we concluded that the
16 transmission system there would be adequate to
17 accommodating sources on an energy only basis.

18 Now what would it take to make this study range
19 deliverable? Some of the transmission planning studies
20 that were performed by the ISO, as well as TANC, have
21 indicated that for a deliverability we would run into
22 numerous problems in this area. And we are looking at
23 upgrades similar to adding another 500 kV line if we want
24 to bring in another 34 or 3,500 megawatts in this area.
25 And that sort of upgrade, ballpark estimate is \$2 to \$4

1 billion.

2 Now I would also like to classify this with -- so
3 in TTIG work, the upgrade costs that we relied upon are
4 very, very high-level. They were conceptual upgrades that
5 we might have identified in some of the interconnection
6 studies or some of the reliability studies. These were not
7 -- detailed engineering and costing assessment was not done
8 on these upgrades. And throughout TTIG's work the upgrades
9 that we are mentioning here are not to advocate or suggest
10 any particular upgrade, it's just to give a sense of what
11 is the magnitude of system reinforcements that we are
12 looking at or we would need if we were to integrate at this
13 level of resources in each TAFA.

14 The next area in the Northern California region
15 we looked at was Solano. Again, this area is we have a
16 moderate amount of commercial interests in the
17 interconnection queues, but it's not enough. It's not more
18 than 3,000 megawatts where it would give us enough
19 information to comment on how much we can deliver with the
20 existing system. As for the energy only estimates we did
21 have last year's 50 percent studies. And close to 880
22 megawatts was our estimate.

23 Now, in terms of transmission implications what
24 would it take to make this range deliverable? Depending on
25 the location and size of some of these resources there may

1 be a need for a 230 or 500 kV collector station to either
2 loop it into an existing 500 kV system going into the Bay
3 Area, and make those resources deliverable towards both
4 sectors. But none of our or any other planning entities
5 studies have run into that constraint yet; hence we don't
6 have a concrete cost number for this estimate.

7 The next area was San Joaquin Valley. This
8 includes a Westlands area, for which our estimates for
9 deliverable capability out of this area is upwards of 1,800
10 megawatts. And this is based on the latest cluster eight
11 interconnection studies that have shown some constraints on
12 this system, primarily because of the system between Gates
13 and Los Banos. We noticed several transmission constraints
14 on the 230 as well as lower voltage system between Gates
15 and Los Banos, so that is a limiting constraint for making
16 resources deliverable in this area. And the estimate, a
17 very high-level estimate for fixing these problems is close
18 to 440 million.

19 MR. BERBERICH: Could I ask a little question?
20 Neil, this may be best for you. Gates-Gregg, which we
21 decide may not be needed, how would that play into
22 deliverability out of this area?

23 MR. BARAVE: Well, Gates-Gregg was an assumption.

24 MR. BERBERICH: You assumed it was there?

25 MR. BARAVE: It was there, but also on some of

1 our different studies it indicated that there was not a
2 very big impact on increasing deliverability from this
3 area.

4 MR. BERBERICH: So it doesn't have that material
5 of a difference for deliverability?

6 MR. BARAVE: Yeah.

7 MR. BERBERICH: Thank you.

8 MR. BARAVE: Moving into Southern California,
9 Tehachapi was one area where we actually did not see any
10 big red flags or any area-wide constraints. At the
11 prescribed level, close to 5,000 megawatts, that was the
12 study range prescribed by the Plenary Group. And obviously
13 we don't see much deliverability issues, so energy only is
14 also not going to be a big concern in the Tehachapi area.

15 Out of Victorville-Barstow TAFA is the one that I
16 said is a bit complicated, so we actually broke it down
17 into sub-pockets. But there is also an overarching
18 constraint that spans beyond this TAFA, so if you can
19 visualize a big bubble that limits Victorville, Riverside,
20 and Imperial, so that is one constraint. And then there
21 are smaller pockets and constraints within each TAFA.

22 So I'm going to walk through each one of these.
23 We divided this TAFA into two or three sub-pockets. One is
24 the North of Lugo system. This is a 230 and 115 kV system
25 that goes up north from Lugo to Kramer, Victor, Inyokern

1 all the way up to the control area. This area is limited
2 to 2,000 megawatts total, but within this area there are
3 sub-constraints.

4 For example, in the North of Kramer system our
5 estimate is that we will maybe able to accommodate close to
6 400 megawatts, because there is already severe constraints
7 to get power South of Kramer towards Lugo. There is also a
8 constraint on the Calcite, in the Calcite-Lugo area, which
9 limits generation in that area to 400 megawatts. So these
10 are the smaller sub-pockets within Victorville.

11 The 5,500 to 8,500 megawatt range for deliverable
12 amounts, this is the one that spans across three different
13 TAFAs. So this range encompasses east of the Pisgah area,
14 which is part of Victorville TAFA here. It also includes
15 resources in Riverside as well as some resources in
16 Imperial Valley. And because of the size of this footprint
17 of this constraint this number is very large, but you'll be
18 mindful that this number is resources developing in three
19 different TAFAs, so not just in one TAFA.

20 In terms of energy only our 50 percent studies
21 indicated that just in the East of Pisgah area within
22 Victorville we have close to 2,700 megawatt room and close
23 to 470 megawatts in the North of Kramer system.

24 Now, the second major takeaway for this area is
25 what would it take to make all these resources deliverable?

1 So the biggest area is the desert area constraint, which is
2 the 5,000 to 8,000 megawatt range. And a fix for that
3 constraint would be something such as a Lugo-Victorville
4 500 kV upgrade, which would cost \$34 million. And the cost
5 estimate comes from a transmission project that was
6 submitted in ISO's request window in last year's
7 transmission planning process.

8 But in the North of Lugo area constraint we are
9 looking at upgrades similar to a new 500 kV to 230 kV
10 transformer bank at Lugo. Also, to mitigate constraints
11 South of Kramer we are looking at a transmission upgrade
12 similar to Coolwater-Lugo line or Kramer-Llano 500 kV line.
13 And then the smaller constraint in Calcite-Lugo area, we
14 are looking at upgrading or rebuilding the Calcite-Lugo 220
15 kV line.

16 And the cost numbers are based on like per unit
17 cost estimates, very high-level cost estimates, that were
18 used in some of the generation interconnection studies,
19 Phase I interconnection studies. So these are preliminary
20 estimates and preliminary constraints identified in this
21 area.

22 MR. TURNER: Can I ask you Sushant, can I pause
23 you back -- go back there a second?

24 MR. BARAVE: Yes.

25 MR. TURNER: A couple of things I'd like to just

1 add here. One is that we're not including the LADWP
2 information here?

3 MR. BERBERICH: Yes. One reason is, so the input
4 we received from LADWP -- and if they are on the call, if
5 they want to chime in -- I'll try to summarize the input
6 was that they have in our Interim Report that was posted on
7 June 9th, LADWP provided a lot of information on upgrades
8 and enhancements that they are doing near their Barren
9 Ridge system going all the way into Haskell Canyon, I
10 believe.

11 And by 2022 there will be two more lines that
12 they are expecting would show up. And this information is
13 in the Interim Report as well. So these upgrades would add
14 some capability in this area and so there is no constraint
15 that we could identify. So this slide identifies
16 constraints and what would it need to fix those on the
17 LADWP system side where it comes very close to the Inyokern
18 system, on SCE's system, SCE's transmission. On that area
19 we really didn't see any existing studies that indicate any
20 definite open transmission constraints.

21 MR. TURNER: Right, thank you. I think they said
22 by 2022 they expect to add another 1,700 megawatts or so of
23 capacity going up into the Owens Valley there. And that
24 then is a key part of their strategy for meeting their 50
25 percent RPS goals. And they foresee significant solar

1 development and I believe some wind as well up that way.

2 MR. BERBERICH: Sushant, for these constraints,
3 for the projects to relieve these constraints is there a
4 way to say okay, so for -- let's use the first constraint,
5 the upgrades to Lugo-Victorville -- how much would that
6 provide from a deliverability perspective as well as from
7 an energy only perspective in sort of kind of walking down
8 that line? So you'd get 800 megawatts if you did this,
9 you'd get another 1,000 megawatts you did this. Now I
10 suspect there's interplay between the constraints.

11 Do you have any sense of that?

12 MR. BARAVE: For that particular constraint,
13 fortunately we do, because we have had enough interest in
14 our queue where we have studied higher level of
15 generations. So for that constraint we are looking at
16 1,500 to 2,000 megawatts of added capability.

17 MR. BERBERICH: Just for that one?

18 MR. BARAVE: Just for that one. But
19 unfortunately some of the other ones we are either right
20 where our generation interconnection queue has just started
21 showing those constraints, so we don't have enough
22 information. We have not essentially done studies to go
23 way beyond that and establish a ceiling for the next
24 required upgrade. But some of these constraints we do have
25 that information and we will include it in the final report

1 that would be compiled based on the feedback for our July
2 29th workshop as well as today's workshop.

3 MR. BERBERICH: Yeah, I think that would be
4 great. And I think it'll instructive as the Public
5 Utilities Commission goes about doing -- you know, because
6 if you can get 800 with \$50 million and the next 200 costs
7 \$1 billion you may want to look elsewhere.

8 MR. BARAVE: I wanted to make a note before I
9 forget.

10 PRESIDENT PICKER: I know we're not quite there,
11 but I'm going to have some similar interests about the
12 import regions you identify in the south state for Mead,
13 Eldorado and --

14 MR. BARAVE: We have a slide on imports and how
15 that actually ties very well with the TAFAs that the import
16 is going to inject megawatts into.

17 PRESIDENT PICKER: But I'm curious as to how
18 that's going affect the ability and constraints on
19 development within those areas. I'm sure there's going to
20 be some impacts back and forth on this.

21 MR. BARAVE: So the short answer is that all
22 these constraints exactly apply the same rate to imports as
23 they would apply to most of the development within the
24 TAFAs. So for example, imports coming into Eldorado will
25 basically be constrained by the same four things that you

1 are seeing, barring the ones in North of Lugo, because
2 North of Lugo doesn't have as much interaction with
3 generation connecting or feeding into Eldorado. But the
4 desert area constraint would still apply to either
5 generation developing at Eldorado or coming into Eldorado
6 from out of state.

7 PRESIDENT PICKER: Oh, but you had discussed the
8 several different efforts to make the study area
9 deliverable. Are all these constraints applicable to
10 imports or just several of them that --

11 MR. BARAVE: Yes.

12 PRESIDENT PICKER: Okay. All right, fine.

13 MR. BERBERICH: Yeah, but to further President
14 Picker's point though there are constraints though, even
15 for the -- all right, so you've made it deliverable at
16 Eldorado. We realize that whether it's on this side of
17 Eldorado or coming in to Eldorado, those same constraints
18 come in to play. I think maybe what President Picker is
19 trying to get to, in addition to that, getting to Eldorado
20 is going to have its own sets of issues too. And I think
21 trying to understand those is important. And maybe you
22 have a slide for that or not?

23 MR. BARAVE: I don't have a slide for that, but I
24 think Brian -- and you can chime in -- the outreach to
25 divisional entities as well as some information that we

1 have in the Interim TTIG Report about all of the out-of-
2 state projects that may be required to bring -- to deliver
3 power up to Eldorado.

4 MR. BERBERICH: Right.

5 MR. BARAVE: So there is some information there.
6 And I think the WIEB outreach on that effort is going to
7 narrow down on what would be needed to get to these
8 injection points.

9 MR. TURNER: Yes, just confirming the basic
10 breakdown is we've asked the TTIG to take everything from
11 the point of injection at the California border, like
12 Eldorado and in. And that's where you'll hear in just a
13 second about how those imports do compete with the
14 generation inside California as they're flowing along the
15 same path. And then we've asked the Western Outreach
16 Project to tell us about everything, the resources out in
17 the west, coming to that injection point of Eldorado.

18 Now I agree that there is that actual substation
19 at -- substations around Eldorado, Marketplace, Mead,
20 etcetera that we will see if we've got more information
21 from the TTIG and the Western Outreach Project about the
22 actual access into that valley. We've heard of some
23 potential constraints. We haven't fleshed that out yet.

24 MR. BERBERICH: Okay.

25 MR. TURNER: I think if you don't get it I think

1 we do need to get it, because particularly I'm mindful as
2 we move to the next steps, which is trying to figure out
3 what portfolios look like. And particularly as they move
4 through the Public Utility Commission processes they're
5 going to want to know the answer to both of questions.

6 So let's say Edison, as an example, contracts for
7 500 megawatts of solar someplace in Arizona. Is that
8 deliverable via Palo Verde or something?

9 MR. BARAVE: Right. The next TAFE we looked at
10 was Riverside. The study range was 5,000 megawatts. This
11 focus area again is constrained behind the Lugo-Victorville
12 constraint or as we call it this desert area constraint.
13 And again this is not the only TAFE constraint behind this
14 limitation, it is in combination with East of Pisgah
15 generation as well as Imperial.

16 Energy only estimates for Riverside only, based
17 on our 50 percent studies last year were close to 4,750
18 megawatts. And the fix here would be very similar to what
19 we already talked about, Lugo-Victorville. But this is the
20 area where we had the luxury of actually looking at some
21 studies where we had an even higher number of megawatts
22 that were studied. And so we also know about, have some
23 idea about what would be the next constraint we would run
24 into and what sort of upgrade we are looking at.

25 But that's just an information-only piece, which

1 we had it with us. So we thought so we'll put it in here,
2 which would be if we go beyond 5,000 megawatts in this area
3 -- if there is enough interest and feasibility -- then we
4 might be hitting a constraint that will require Red Bluff
5 to Mira Loma 500 kV lines and upgrades similar to this new
6 line, which would be a very expensive upgrade.

7 The next area is Imperial focus area. And now
8 here I will be walking through what our findings were based
9 on studies that we looked at internal to ISO. And I will
10 ask Nisar and Ziad to talk about IID's input based on their
11 studies and some conceptual projects.

12 So ISO's studies so far indicate that there is
13 close to 500 megawatt deliverability available only in
14 Greater Imperial, but this is with a note that this number
15 is very likely going to change based on some of the recent,
16 updated models that we have received from IID. And with
17 their coordination we are going to study this capability
18 again in our 2016-'17 Transmission Plan. And we are going
19 to update this number. Only thing is it probably is not
20 going to happen before we create the RETI final report. So
21 we will have this note in there.

22 Now that number is based on constraints close to
23 Miguel. Trying to deliver power east of Miguel is where we
24 notice all these constraints. The other constraint that
25 applies to this area is again desert area constraint,

1 because some of the generation in this area is -- it hurts
2 the Lugo-Victorville limitation, not as bad as generation
3 closer to Eldorado and that whole other area, but it has
4 some impact because the generation in this area might be
5 limited by that constraint as well.

6 In terms of energy only capability our estimate
7 was upwards of 1,800 megawatts in Greater Imperial area.

8 Now in terms of fixing the problems close to
9 Miguel we are looking at upgrades similar to either a new
10 IV to Valley 500 kV line, which we'll provide under their
11 path for all the injection into Imperial Valley to go up
12 north.

13 Also a DC conversion of North Gila to Miguel 500
14 kV line: this upgrade, which is directly enhanced
15 illuminates that there are limiting elements today. So
16 some sections of this Hooper line would just have higher
17 capacity with this kind of project. Then Midway-Devers,
18 500 kV AC Intertie, as well as Hooper to SONGS HVDC
19 Project.

20 Now these are the projects that we have seen
21 these submitted in ISO's request to renew in our 2015-2016
22 transmission planning process. And so we are looking at an
23 upgrade that is the order of magnitude whereas it would be
24 something between these four or five upgrades that we have
25 listed here.

1 For the desert area constraint, I already talked
2 about Lugo-Victorville upgrade. We also thought that
3 Hooper-SONGS HVDC could partially mitigate this constraint,
4 it would alleviate a little bit on the Lugo-Victorville
5 part.

6 And another constraint we have recently noticed
7 in our interconnection studies has been the West of River,
8 which is Path 46 rating limitation. And that may be just a
9 matter of looking at if there is a path rating increase
10 available or feasible on this path without an upgrade or
11 with some of the planned upgrades.

12 Now the DC conversion of North Gila to Miguel 500
13 kV line as well as the Lugo-Victorville upgrade, it's our
14 estimate that it would help with some increase in Path 46
15 rating, so both of these individually could help with
16 increasing that limitation.

17 Now with that I would like to invite Nisar or
18 Ziad to talk about the IID's input in their summary based
19 on their estimates.

20 MR. SHAH: Thank you, Brian, thank you, Neil, for
21 giving us the opportunity to talk about IID. Hello, my
22 name is Nisar Shah. I work for ZGlobal and today I'm here
23 just to represent IID. This is one slide, I just have
24 three points to talk about, three important points.

25 Point number one is what we call Path 42

1 upgrades. This is something that IID completed last year.
2 There are two 230 kV, which are 600 megawatts each. They
3 are now upgraded to almost 1,500 megawatts each and those
4 lines are completed since last year. However they are very
5 severely underutilized. Those lines are being used between
6 300 to 500 megawatts only depending on the time of day.

7 And I think IID spent about \$40 million to
8 complete that project. At that time there was a lot of
9 generation activity in the IID queue and they thought this
10 was necessary to transport all of the generation coming up
11 in the IID system into Southern California's IID system.
12 But things kind of stopped, because the flow on those lines
13 is between (indiscernible) simply because it does not make
14 generation go up in our IID there.

15 The second point is the existing transmission
16 capacity and the existing transmission capacity in the IID
17 system today is approximately 1,400 megawatts. This cannot
18 be used, because there's not much generation activity
19 there. There's just plenty of cheap land, lots of
20 opportunities, but the developers basically withdrew from
21 IID queue. We had about 1,800 megawatts in the IID queue.
22 They just withdrew, because they couldn't get a power
23 purchase agreement, so they just withdrew. So the lines
24 are there, the capacity is there, but no one renews.

25 And the third point is something we call the STEP

1 Project, the Strategic Transmission Expansion Project.
2 This was a very active project about three years ago, two-
3 to-three years ago. IID was very active on it 2013 and
4 2014. In 2013, SONGS had just closed, so there was a
5 deficiency of 2,200 megawatts right there. So IID thought
6 that we can really fill some of that gap by utilizing the
7 renewable energy in the IID area. And just transport
8 straight to SONGS substation.

9 So there was one big project at the time and then
10 IID also considered a second project, so it was basically
11 two projects we already submitted in the ISO queue -- not
12 the queue, but ISO request window -- for consideration.
13 And it is highly likely that IID might just pursue only
14 one. And this project is basically from the IID substation
15 named the Midway substation to the Devers substation.
16 That's about 80 miles of AC line and that'll be about \$350
17 million.

18 Now, this project will also materialize -- this
19 can carry 1,100 megawatts into load centers in Southern
20 California Edison utilizing IID's cheap land for
21 renewables. But only if there is generation development,
22 then this project can also materialize. So today we have
23 almost 1,400 megawatts of capacity available and another
24 1,100 megawatts can be made available through the STEP
25 Project. So 1,400 and 1,100 we're talking about 2,600

1 megawatts can be made available in a relatively short time
2 if there is generation development.

3 The other important point on this IID system is
4 it's a huge system and it has strategically, from an
5 analytical point of view it can be split into two areas:
6 IID North and IID South, simply because any generation
7 that's coming into IID North there is a big route, which is
8 the Path 42 which is sitting almost idle now. That
9 generation coming into IID North can just flow straight on
10 that Path 42 straight into Devers substation.

11 Path 42 is basically a IID substation, which
12 allows the sub going straight into SCE Mirage substation,
13 just direct connection. And the generation in IID South
14 cannot reconnect through that path. It has to go the other
15 route, which is the Imperial Valley route.

16 And then the Imperial Valley Route already is
17 constrained. They have a major ECO-Miguel line, which is a
18 huge line, but it's a constrained path today. So any
19 generation coming into IID South will do no good, actually
20 it will make things worse. I'll just give one set of
21 numbers, if you put generation in the IID North it has an
22 adverse impact of about 2 percent on the ECO-Miguel path.
23 But if you put generation in IID South there is about a 20
24 percent adverse impact on the ECO-Miguel path.

25 So therefore depending on where you put

1 generation, generation has its own effectiveness where you
2 put it, and how to best utilize it. So IID North is the
3 best area for promoting and really encouraging developers
4 to put generation there.

5 I think those are the three key points that I
6 wanted to bring to your attention. If there's any
7 questions, I'll be happy to answer.

8 CHAIRMAN WEISENMILLER: Sure, I just wanted to
9 understand the relationship between your company's STEP.
10 Are you doing it for time and materials or do you have any
11 sort of contingency fee or financial piece of the project,
12 if you know?

13 MR. SHAH: As far as I know we have Ziad here,
14 who can explain better, but as far as I know we charge them
15 based on the hours that we spend on the projects.

16 MR. ALAYWAN: The proposal is to have that line
17 in the ISO.

18 CHAIRMAN WEISENMILLER: I realize that, I'm
19 asking about your arrangement. As an ex-consultant I know
20 I did things for time and materials, but there were also
21 times where there were contingency fees and stuff. I'm
22 just trying to understand the whole thing.

23 MR. ALAYWAN: No, there is no contingency fees.

24 CHAIRMAN WEISENMILLER: Oh, that's great.

25 Thanks.

1 MR. ALAYWAN: It's just a cost base.

2 CHAIRMAN WEISENMILLER: Thanks.

3 MR. SHAH: Any other questions?

4 (No audible response.)

5 Thank you, sir. Thank you, I appreciate it.

6 MR. BARAVE: Thanks, Nisar.

7 The next slide summarizes the interaction of
8 imports and what we have noticed for individual TAFAs and
9 what's the interplay between the study ranges specified by
10 the Plenary Group for imports and the instate transmission
11 limitations that we have seen.

12 So for the Eldorado-Mead-Marketplace import is
13 the one that would impact Victorville TAFE as well as the
14 Riverside TAFE. And transmissions constraints applicable
15 for this import, the main constraint would be the local
16 Victorville desert area constraint. And currently, the
17 capability behind that constraint is 5,500 to 8,500
18 megawatts and so that applies to this import as well, so an
19 import will essentially compete with any development in
20 these two or three TAFAs. And if we exceed that range,
21 that's when we need the next upgrade.

22 MR. TURNER: I just wanted to pause there and
23 jump in, because I think this is one of the points that you
24 were asking about, President Picker. And I think if I can
25 try to characterize how I understand it, which is not

1 perfect but imports from either of those two hubs: Eldorado
2 or Palo Verde add on to some portion of the generation in
3 Imperial, Riverside, San Bernardino. And that you have had
4 a 55 to 8,500 megawatt range before you reach those
5 constraints.

6 And then the next upgrade's fairly cheap, 34
7 million, the L.A. to Victorville-Lugo upgrade, but then
8 that adds another 1,500 to 2,000 megawatts. But then
9 you've got a really big constraint or mitigation that may
10 be required at that point. And this is all very
11 generalized information and the actual interaction between
12 where the generation and where it's coming in from will
13 impact that significantly.

14 But if we get involves anywhere near a scenario
15 that involves that high level of generation in these desert
16 regions and imports then you look at some potential
17 implications there. And we'll do our best to sketch out
18 that supply curve and what that means.

19 PRESIDENT PICKER: That would be helpful, because
20 I'm trying to understand given that there are different
21 pathways into those load centers, which of these
22 improvements may relate to which particular substation
23 you're targeting or whether they're all implicit in imports
24 from out of state. That's really the question or you can
25 brief me at some point in the future.

1 MR. BARAVE: The next big import that will have
2 implications on the same three focus areas: in Victorville,
3 Riverside, and Imperial, would be imports on Palo Verde-
4 Delaney Corridor. And this would again be limited by the
5 Lugo-Victorville constraint as well as to some extent,
6 since it delivers into Imperial area as well it might be
7 constrained by the East of Miguel constraint that we talked
8 about on the Imperial TAFAs slide.

9 To summarize, so the first note is that the
10 resource ranges that we have looked at that were prescribed
11 by TTIG, it's a much bigger number than what we were
12 required to meet the renewable net short of 50 percent
13 goal. We looked at individual areas, that I mentioned, at
14 the beginning of our presentation and tried to isolate
15 impacts of transmission implications with an understanding
16 that there will be interaction between multiple TAFAs,
17 especially in the Southern California areas.

18 Based on the existing estimates that we have
19 available transmission capability was provided in the
20 Interim Report that was posted on June 9th, I believe.
21 Some of these numbers have been updated, because we
22 finished our ISO Cluster 8 Phase 1 studies and had some
23 implemental information that was available.

24 And between June 9th and today is when TTIG
25 performed the work to actually identify and narrow down

1 transmission implications for the type of upgrades we need
2 and what is the magnitude we are looking at, not the exact
3 upgrades, but the bigger implication and what sort of costs
4 would these entail?

5 And the takeaway is that barring the Tehachapi
6 TAFE pretty much all other focus areas, if we were to make
7 all these resources deliverable, then we are definitely
8 running into transmission constraints that would require
9 some sort of transmission enhancement.

10 For "energy only," I think that part is still
11 under discussion. Last year, some (indiscernible) studies
12 indicated that overall transmission in California would be
13 able to accommodate energy-only resources to get to 50
14 percent.

15 And this is the point I talked about, so we have
16 limited information on this energy only aspect. We will be
17 performing another study as part of the 50 percent special
18 studies in the 2016-'17 transmission planning process. And
19 we hope to add and get more insight into what are the
20 existing capabilities and what would it take to go beyond
21 that.

22 MR. BERBERICH: Would it be fair to say though,
23 that from an energy only perspective you'd need a
24 relatively minor amount of transmission. Is that correct?

25 MR. BARAVE: Yes.

1 MR. BERBERICH: As opposed to making it fully
2 deliverable, which would mean billions of dollars of
3 transmission as I --

4 MR. BARAVE: Right, so the extent of upgrade in
5 the same area might be smaller provided we are at an
6 acceptable level of curtailment. And that is I think a --

7 MR. BERBERICH: A trade-off.

8 MR. BARAVE: -- a problem, which we haven't
9 gotten to a solution yet at this time.

10 MR. BERBERICH: But again, I think that to the
11 extent as you prepare this report think about the decisions
12 that need to be made and anticipate them to answer the
13 questions. Because the questions are all right, so if I
14 can do much of this energy only fine, I have this
15 curtailment rate. Now let's say I want to have a
16 curtailment rate of instead of 8 percent, 5 percent. Well,
17 the best thing to do would be able to put these renewables
18 here, here and here. And you have a \$500 million price tag
19 as opposed to putting them here, here and here and it's got
20 a \$3 billion price tag.

21 So that's -- you know, it's a narrow process I
22 get, but it's sort of that multi-regression equation to get
23 at what the right answer is. And I think it's important to
24 provide the decision makers as this process unfolds. It's
25 much of that kind of information you have, I know some of

1 it will be difficult to tease out. But if you can get to
2 at least an 80 percent solution, so that you can get
3 directionally correct about this energy only versus
4 deliverable perspective as well as how much can you deliver
5 at the lowest price tag effectively.

6 MR. BARAVE: The one last point in the summary is
7 regarding the out-of-state resources being delivered. And
8 these essentially would be subjected to the same
9 transmission constraints that we identified for individual
10 TAFAs. So these are the five high-level takeaways from the
11 TTIG work so far.

12 Now, to talk about Next Steps I think Neil Millar
13 will walk you through those.

14 MR. MILLAR: Thanks, Sushant.

15 So the next steps we were just wanting to
16 reiterate, the TTIG will be reviewing the regional outreach
17 work to see what we can add on in terms of what it takes to
18 get to the California system. Sushant's material today was
19 covering, once it gets there, what the implications are
20 downstream.

21 The other effort now is to focus on bundling up
22 the information today, the comments we've received from the
23 workshop. And put together the final report capturing all
24 of the information we've pulled together to this point.

25 There was just one other point I thought I should

1 make that as we went through the presentation the
2 Victorville-Lugo constraint seemed like a pretty obvious
3 fix. It's not approved at this point, because that project
4 was identified as needed in the ISO's Transmission Plan
5 last year. But we held off asking our Board for approval
6 to move forward with the project until we had the
7 coordination in place in LADWP. So we consider that an
8 active project that's moving forward, but we don't have
9 Board approval yet pending getting the arrangements in
10 place with L.A. So I hope that helps in that.

11 Are there any questions on the TTIG effort at
12 this point?

13 (No audible response.)

14 Thank you very much.

15 MR. TURNER: Great, well we are running a little
16 bit short on time, because we've got one more presentation
17 I wanted to share with you. This third track to our
18 current assessment activities -- that is the Western
19 Outreach Project that was taken on by the Western
20 Interstate Energy Board.

21 The project manager for that, Tom Carr, is over
22 at the WECC, Western Electricity Coordinating Council,
23 today. So we've asked Keegan Moyer from Energy Strategies
24 who's the contractor that WIEB has brought on, to go
25 through a presentation about that project.

1 MR. MOYER: Okay. Yeah, so ideally I think it
2 would have been likely Tom Carr or someone else from WIEB
3 here today. And unfortunately they couldn't be here, so
4 I'm standing in and I'll do my best WIEB staff impression.
5 But as Brian said my name's Keegan Moyer, I'm with a
6 consultancy based out Salt Lake City called Energy
7 Strategies and we support a number of clients throughout
8 the west in the energy space.

9 So the Western Outreach Project, so I think what
10 Tom and Maury and the rest of WIEB would have me say today
11 about this is that my understanding is that WIEB was
12 approached by the various sponsors here to conduct this
13 portion of the RETI effort. This portion is focused
14 generally on the out-of-state transmission assessment focus
15 areas that Brian went over earlier. And really, those
16 areas along with any other information that is collected
17 kind of rounds out the scope of this effort.

18 That scope primarily is an information-gathering
19 exercise just like the information that Sushant just
20 presented about prior studies that the CAISO and other
21 California entities have done. This parallels that and
22 it's not envisioned at this time, at least to my
23 understanding, we're doing any additional assessments.
24 This again is acting on existing information and bringing
25 that to light and asking stakeholders for input in trying

1 to draw out common scenes in that input.

2 The specific stakeholders that are being
3 consulted is a very broad base on this broad regional
4 issue. We are seeking the input from state regulatory, various
5 utilities across the west, project developers both
6 on the generation and transmission side as well as
7 advocates on the environmental land use side and the air
8 quality side as well. So a lot of various outreach and so
9 far a lot of interest from those various groups.

10 So in case you're not familiar with the entities
11 that I'm mentioning, we added this slide here. So the
12 Western Interstate Energy Board is explained here briefly,
13 but they're an organization of the 11 western states and
14 the 3 Canadian provinces. They have member representatives
15 that sit on this Board.

16 They also have some very committees that operate
17 under the Board. One of those committees that you may be
18 familiar with is called CREPC, that's the Committee on
19 Regional Electric Power Cooperation. And I just want to
20 mention that this type of activity for CREPC and WIEB is
21 right within their scope and where they're comfortable in
22 acting. Several years ago this group took on an effort to
23 inform the regulators about the energy imbalance market.
24 That led to a series of studies done that ultimately helped
25 lead to better informed kind of state regulatory

1 perspectives on that particular issue. So this type of
2 regional effort that requires broad input is something that
3 they're familiar with.

4 We also have NASEO as part of this project as
5 well. I won't do too much of an introduction to them, I
6 think a lot of people are familiar with that group.

7 And lastly the third leg of the stool is in
8 Energy Strategies who's providing technical support to the
9 effort. So our job is to really support WIEB in trying to
10 compile and develop a summary of information
11 (indiscernible) as part of this effort.

12 MR. BERBERICH: I'll ask a quick question, maybe
13 this is a question for you. With the MOU between
14 California and Mexico and with Mexico now indicating or at
15 least CENACE and Baja Norte indicating they may want to
16 participate in the energy imbalance market, what outreach
17 have you done probably with CENACE I guess, in coordination
18 with them? Because you've got the Canadian provinces
19 covered, but I don't see any mention of Mexican
20 collaboration.

21 MR. TURNER: Yeah, you've caught me out there, we
22 have none to date.

23 MR. BERBERICH: You might make at least some
24 tacit overtures to them and suggest our Roberta could
25 probably help with that.

1 MR. TURNER: Yeah. Thank you.

2 MR. MOYER: That issue actually came up in our
3 Portland workshop last week about the international
4 outreach and the same thing was asked as well.

5 So this is a short summary of again, the
6 different aspects of the project. The regional
7 consultation or the regional outreach really is being led
8 by a steering committee. That steering committee includes
9 members from these various states. Those members hold
10 positions in various energy offices, public utility
11 commissions, department of environmental qualities, so they
12 run the gamut. So that really is the group along with WIEB
13 and support from Brian as well, that are guiding this
14 effort.

15 The effort is primarily organized around two
16 different workshops. The first workshop has been complete.
17 It was held a few days ago, Friday August 12th up in
18 Portland. And the effort of these workshops is really kind
19 of broken down regionally where the Portland workshop is
20 focused on the northwest and kind of the intermountain area
21 and the Las Vegas workshop is focused on the southwest and
22 the southern half of the intermountain area.

23 And the Las Vegas workshop is still being
24 scheduled and organized, but we do have a date and a
25 location and a time and it is on September 1st. More

1 information on that workshop, I think can be found both on
2 the RETI website page right, Brian, and also on the WIEB
3 website.

4 MR. MOYER: So the workshops themselves as well
5 as the entire project have been organized around a set of
6 focus questions. And so these are the questions that are
7 being posed to stakeholders to gather information about the
8 Western Outreach Project. And so those topics, I'll go
9 over in a few minutes and I do not have a comprehensive
10 list for you today, because there are a lot of questions
11 that we are asking, but we'll preview some of them.

12 So the general format is when we're in these
13 workshops we have a series of panel discussions. Those
14 panel discussions have experts from different companies
15 like I said: utilities, developers, various advocates,
16 regulatory commissions so on and so forth, that are
17 responding to some of the questions that we pose live and
18 during these meetings.

19 In addition to that, we've also structured them
20 so there are some response panels to respond to some of the
21 things that are said. And then as well as that, plenty of
22 time left over for general and kind of a broad discussion
23 around the various issues. And a kind of having gone
24 through one workshop already I think in Portland that's
25 definitely when we drew out the most information is when we

1 moved on from the structured piece and people were able
2 just to talk about the issues and the hurdles and
3 challenges that were on their minds.

4 So the idea is to conduct these workshops.
5 Energy Strategies is taking notes and trying to summarize
6 the information real time and also afterwards. And then
7 we're going to combine that with the written comments that
8 we received. That comment window is open through September
9 8th and so the idea is for participants to respond in
10 written comments to the questions that we pose. And those
11 comments can be sent to Tom Carr there, WIEB staff, at his
12 email address.

13 From there the rest of the effort is basically an
14 iterative process of report writing and coordination with
15 the steering committee and Brian, of course, and
16 interfacing on developing some final conclusions and
17 recommendations surrounding those focus questions.

18 So that's the general structure of the effort.

19 CHAIRMAN WEISENMILLER: Okay. About how many
20 participants were in the Portland workshop?

21 MR. MOYER: Yeah, great question. I meant to
22 cover that, I think we had almost 30 people in the room,
23 right around that. And I haven't got the fully tally on
24 the phone, but when I looked at it there was about 30 to 40
25 on that, on the phone. So right about 60 to 70, somewhere

1 in there.

2 So the focus questions, my thought here today was
3 just to kind of walk through these to give you an idea of
4 what's being posed to these stakeholders and what we're
5 asking for information on. Again, these aren't all of the
6 questions that are being posed. I think the complete list
7 of questions is posted to the WIEB website and will be
8 posted to the RETI page as well I believe.

9 And I'll also provide a little bit of narrative
10 on some of the feedback we got from the Portland meeting on
11 Friday. We, of course, haven't had time to digest and kind
12 of condense down that input, but I'll just give you some
13 snippets on what we've heard out of that conversation so
14 far.

15 So, on the renewable demand piece this focus
16 question, this Focus Question #1 is really intended to kind
17 of set the stage for a discussion about the transmission
18 that happens later. And so the idea here is to understand
19 what the potential for renewable markets in the west are,
20 sort of outside of California. And Brian talked about
21 earlier, we know what the potential demand is within
22 California in this effort as opposed to what's outside of
23 the state.

24 So one of the things we're asking is what the
25 demand is in these particular regions. And that demand,

1 we're learning and also asking about in a detailed manner,
2 is going to be driven by renewable portfolio standards,
3 clean power plant components potentially, as well as just a
4 drop in technology costs for those resources.

5 One of the things that we talked about and we
6 kind of went into at length on the panel, is we have a
7 representative from PacifiCorp's Integrated Resource
8 Planning Process and Origination Group that talked about a
9 recent RFP they conducted. And that RFP actually drew out
10 about 6,000 megawatts of interest primarily from their
11 eastern side of their footprint. So that was exclusively
12 their -- sorry the western side of their footprint, so half
13 of the PacifiCorp footprint effectively led to about 6,000
14 megawatts. So that's the type of information that we're
15 trying to draw out to get an idea of how much resource
16 potential is there still out there.

17 We're also asking questions about renewable
18 supply and where the development might occur. We are
19 asking these questions to specific advocacy groups, which
20 were on this panel as well. So we had a group that had
21 done some analysis about the various northwestern states
22 and how much renewable energy would be developed to comply
23 with the Renewable Portfolio Standards of Oregon and
24 Washington, for instance. And so that's an example of some
25 of the data that we covered as well.

1 We also dug into this notion of patterns of
2 trade. And so the idea here is to look out at a future
3 that has sort of a different grid of renewables located in
4 places where they currently aren't and to sort of
5 conceptualize how that system might operate.

6 And one of the things that came to light here,
7 that was a big point of discussion, was coal retirements in
8 the northwest. We talked about the pending Colstrip
9 retirement at length, and the interest in repurposing that
10 transmission (indiscernible) out of Montana into the
11 northwest for use in renewables.

12 And then again, PacifiCorp and others commented
13 on the potential long-term retirement of one of the fleets
14 out in Wyoming and the preference and interest in
15 repurposing that transmission as well for wind to build
16 out of Wyoming. So again, more information coming in on
17 that front as well.

18 One other point worth mentioning is we had the
19 Northwestern Power and Conservation Council, which is an
20 entity in the northwest that does regional planning for
21 several northwestern states. And one of the key
22 assumptions they make in their planning exercises is how
23 many imports can they rely on from California during their
24 seasonal peak, which occurs in the winter. So that's the
25 type of information that we're gathering is 3,000 megawatts

1 that they're using now in their studies. And we're hoping
2 to get more feedback from them on what we can report back
3 to this.

4 So the second focus question after we identified
5 the demand supply of renewables and how sort of the
6 development of those resources might unfold, is to get an
7 understanding of the transmission system, where it stands
8 today, what the existing constraints are, and where current
9 trends are leading the operation of this system outside of
10 California.

11 On this panel, we had representatives from
12 Bonneville Power Administration, we had some environmental
13 advocacy groups here, and also we had representatives from
14 the renewable developer community to opine from that
15 perspective on where the transmission opportunities were
16 and where they were being constrained and under development
17 by the transmission system in the northwest.

18 Again, we ended up talking on this last point.
19 We talked at length about the changes in hydro system
20 specifically and this notion that the northwestern hydro
21 system can potentially serve as a battery and a resource
22 potentially for integrating resource within California.
23 And we had some hydro experts talk to us about some of the
24 challenges associated with doing that. And how much
25 warning they need before they start cascading water down

1 their hydro system, for example.

2 One of the stories that they gave us was there's
3 a series of dams all linked together and they sequentially
4 don't have a lot of storage the further down that you go.
5 So once you start the flow it's going to have to finish,
6 for example, so that's the type of information that we're
7 collecting under.

8 And then finally we get to the transmission
9 aspect of this and so the goal effectively was to review
10 the proposed projects that are out there to access the
11 resources that we've been contemplating the prior two
12 questions.

13 The first question that we asked is really do we
14 have the right slate of projects identified? It's
15 effectively a survey. Are these all of the projects in
16 this region that might help California meet its Renewable
17 Portfolio Standard and greenhouse gas reduction goals.

18 In this particular panel, we had four project
19 developers speak to these various questions. Those
20 projects are all -- really see in one way or another,
21 California RPS compliance as a key value proposition, and a
22 driver of new business opportunity. And we reviewed those
23 projects, learned about their permitting status. We
24 learned about the capacity that those projects could supply
25 to the California market. We learned about the

1 interconnected nature between a handful of those projects.
2 And we began a discussion about the potential scenarios
3 that could play out in their development.

4 And one of the things that I think we had
5 continued discussion about is it was the belief of the
6 developers that it wasn't just what project was going to be
7 needed, but in which order was one of the things that they
8 spent some time talking about, and how to come to that
9 conclusion about which ones.

10 So let me think to see if I missed anything else.
11 Again, there was a lot of information shared at this first
12 panel and I apologize for not having a more concise story
13 to tell you yet. We do have a lot of information yet to
14 collect. Again, I think as far as next steps are concerned
15 I don't have a slide for it, but I can just kind of
16 verbalize the way that we see this playing out.

17 We, of course, have the Las Vegas session coming
18 up on September 1st. We expect to be receiving RETI
19 comments between now and then. And then for seven days
20 thereafter, at which point we'll embark on the report
21 writing effort and try to draw some conclusions out of
22 this.

23 Thank you.

24 CHAIRMAN WEISENMILLER: Thanks, comments on this
25 presentation or overall?

1 (No audible response.)

2 MR. TURNER: Great. Well, thanks Keegan.

3 And I just want to reiterate the call there for
4 comments; I think the workshops that we're putting on are
5 just an instigator for comments. We're putting up people
6 that will make intelligent and informed, and hopefully,
7 statements that get people excited to put in their own two
8 cents. So we're really hoping that people will put in
9 written comments responding to the questions that we have
10 asked that will provide some insight into the resources and
11 transmission available elsewhere in the west.

12 So look at the RETI 2 website, you'll find the --
13 I think the questions are up there now and if not we'll
14 ensure that they are. And folks can get started on those
15 now; the deadline will be September 8th.

16 All right, so this is the last bit. I just want
17 to talk about what's next: next steps

18 Here's our process and timeline again. There's
19 our Plenary Group, which will be presenting the
20 recommendations, the Transmission Group pretty far along,
21 they've got a final report in production that we should
22 have some time in September, that red box should go out a
23 little bit further.

24 The Environmental and Land Use Group is doing a
25 lot and has several tracks within it, and is still ongoing,

1 and I'll talk about some of the outstanding work that needs
2 to be completed there. So that'll be continuing well into
3 September.

4 And then lastly, this final piece that we just
5 heard about, which we are continuing into the end of
6 September as well.

7 Some of that unfinished business, we need more
8 land use info from counties, we want to continue with the
9 tribal and military consultation. I think there'll be some
10 refinement to the transmission implications pending on the
11 comments received, also we have a few questions outstanding
12 that we want to nail down, and also explaining them in a
13 more sensical format for the kind of supply curve of
14 options and scenarios. And the environmental assessment
15 that Scott mentioned, we've got the tool ready to go, just
16 need to identify some areas to evaluate, and then the
17 Western Outreach Project.

18 The next deliverables to look out for there are
19 the September 1st workshop. In mid-September the
20 Transmission Group and the Environmental Group should be
21 ready to present on draft final reports, the TTIG further
22 along than the Environmental Group. And by the end of
23 September I'm hoping that we get final reports from each of
24 those tracks, so that we can begin preparing our
25 conclusions and recommendations.

1 Now, our working assumption is that our goal is
2 to propose both scenarios and data to inform near-term
3 regulatory proceedings. These are things like the
4 transmission planning process, the integrated resource
5 planning or LTTP at the California Public Utilities
6 Commission, data to inform the specific databases we use
7 and cost assumptions. Also the BLM's Section 368 Corridor
8 Review will have some scenarios to inform that regulatory
9 proceeding.

10 Recommendations for future planning initiatives,
11 these could be things like the local land use planning for
12 generation or interconnection transmission or a corridor
13 study as we identify a corridor.

14 Then recommendations for further study, I believe
15 that there will be some real opportunities for important
16 next steps regarding for instance the energy only, and
17 institutional issues or northwest resource planning in this
18 idea that is being discussed to some degree in Portland and
19 through our western outreach project. And identifying in
20 more detail where are the markets for California's surplus
21 generation at specific days and times of the year, what are
22 potential hydro system changes, how to utilize in a more --
23 how to outline the possibilities for sharing of resources,
24 that's not the right word, complementarity of resources
25 across the west. So that we'll have some more information

1 to recommend how to study that in more detail.

2 We will discuss that initial slate of conclusions
3 and recommendations early October, finalize that by the end
4 of October, and have a draft report for you all in mid-
5 November.

6 Our next steps, and I just wanted to leave with
7 our comment portal for anybody who wishes to make comments.

8 CHAIRMAN WEISENMILLER: Great. Thanks, Brian.

9 PRESIDENT PICKER: So, this is an enormous amount
10 of work and it's really starting to bring a variety of
11 issues and opportunities into focus. So I just wanted to
12 take a second and not only thank all of the other agencies
13 who are represented up here by their decision makers. But
14 the lead staff who worked on this, Brian and Scott and
15 Keith, I think you also helped to sharpen the kinds of
16 challenges and decisions we may have to make soon.

17 And I'm actually very pleased to see the broad
18 issues, I mean it really does sort of replicate at least
19 what I hope to see out of this. It does, in fact,
20 replicate a lot of the tools that came out of the RETI 1.0
21 process that began in 2006 and resulted in the
22 transmission, enabled the projects, and allowed us to make
23 the progress that we've made on California's initial
24 renewable energy goals. And so we move into a set of
25 greenhouse gas goals, of course, we still have all the

1 other challenges.

2 I want to point out one thing that also came out
3 of that process, which was an MOU between the regulatory
4 agencies, between CPUC which does the forecast, the PUC
5 does the long-term procurement and the CAISO, which
6 actually then starts to prepare a series of bids to come
7 forward.

8 And that's kind of dated and so we might want to
9 revisit that, but it's not so much that it's not
10 operational still, since it does include that core process
11 I just talked about between the regulatory agencies. But
12 it specifically mentions only the RETI 1 process in the
13 California Transmission Planning Group. And so I'm going
14 to ask my staff to take a look at refreshing it and perhaps
15 strengthening it in the some ways. And maybe actually look
16 to see whether we want to include some of the work of the
17 agencies including some of the environmental tools.

18 So that -- I just think that this is really
19 useful -- we are continuing in moving forward. And that's
20 the one specific task that I will raise for us to consider
21 and see whether we want to look at that again in a new
22 fashion.

23 CHAIRMAN WEISENMILLER: I was just going to say I
24 think you're right. I mean, the thing that's --

25 PRESIDENT PICKER: I know you're right, you're

1 also the one who raised this issue to me.

2 CHAIRMAN WEISENMILLER: The first time, no it's
3 sort of I think the thing which I -- you know I've been
4 focusing on a lot at this stage is that in the old paradigm
5 we were looking at renewables. We were looking against the
6 goal on renewables. We're pretty focused on what do we
7 need for transmission and how do we get there, least cost
8 best fit, so to speak.

9 At this point we're looking really at GHG,
10 because you know I can't find a baseline for any entity in
11 California, what the GHG numbers are that we want them to
12 reduce by 40 percent. And then we need to get that
13 agreement and again as you get more GHG focus, more cutting
14 across the silos, there's a whole new world there. I mean,
15 it's not even getting into the question of what happens if
16 a utility has a CCA spun out. I mean, what is the baseline
17 on GHG for the utility or for the CCA?

18 So anyways we're in a Brave New World, which is
19 going to require rethinking a lot of the pieces on how
20 things fit together.

21 MR. BERBERICH: Yeah, I think the point raised by
22 both of you is on the mark. We're going to have to examine
23 how the process works. I think in particular we're going
24 to have be more iterative as we go through, because if
25 we're solving for GHG we need to do it as cost-effectively

1 as possible as well. And we could go this path or that
2 path and I think they have economic considerations.

3 So we kind of have some fairly ponderous
4 processes right now that if we iterate like that it will
5 take ten years to solve the what if questions. So I know
6 the ISO is going to have to work on that too, we're going
7 to have to be a little bit more iterative on our
8 transmission planning although -- oh Neil's still here and
9 Sarah -- they were sitting over there -- to make sure they
10 knew what they were signing up for.

11 But I think I also want to echo what President
12 Picker said, this is really starting to come together. The
13 amount of work that's gone into this has been outstanding
14 and the collaboration amongst parties including all the
15 stakeholders who have showed up and given us their input
16 too.

17 I think the work shows, and we're deeply
18 appreciative of that.

19 MR. PEREZ: So just a few remarks, again
20 acknowledging the good work that's been done by everyone.
21 I wanted to recognize the fact of the engagement with the
22 Bureau as we come to completion of the DRECP is key. And
23 then also as you brought up, Brian, also as we move into
24 Section 368 the kind of review that'll be coming up this
25 fall will be another key component to think about as we

1 move through the RETI 2.0.

2 So I just wanted to acknowledge the work, the
3 engagement with us, and keeping our eyes on those two
4 prizes from the Bureau's perspective.

5 CHAIRMAN WEISENMILLER: Thank you.

6 Yeah, again I also thank staff for their hard
7 work, thank the stakeholders for their participation, for
8 everyone here today.

9 We have a couple of public comments, at least
10 we'll get to in a second. But again I think we've come a
11 long way. I think we're starting to see the closure and
12 again, coming back to what I started out with, it's pretty
13 clear we have a lot of options. And our challenge is going
14 to figure out how to do phased portfolios that really cover
15 diversity of resources and diversity of locations in the
16 state. But do it in a way, which really minimizes economic
17 and environmental costs going forward and to do that in the
18 context again, of thinking back to greenhouse gas issues.

19 So again, I thank everyone and looking forward to
20 your comments, which are due August 29th. And let's take
21 some public comment.

22 First, Defenders of Wildlife.

23 MS. KELLY: Good afternoon, Kate Kelly on behalf
24 of Defenders of Wildlife. Thank you for holding this
25 session today and the thoughtful comments we've heard and

1 the update. It's been very helpful.

2 The environmental organizations as a whole, and
3 Defenders of Wildlife, as you know we've been commenting
4 pretty consistently and persistently. We are very
5 supportive of these types of processes and the need to do
6 thoughtful planning and looking forward to the future.

7 We have a couple of recommendations based on
8 what's come forward so far and some thoughts of thinking
9 forward as the process continues and beyond RETI 2. Based
10 on what we've seen this far, we really strongly recommend
11 that we focus on those areas where we can build off the
12 science and data that we worked so hard to get
13 collaboratively. So looking at the area within the Desert
14 Renewable Energy Conservation Plan, DRECP, as well as the
15 work that was done in the San Joaquin area focus as those
16 TAFAs, look at the DFAs in the desert, look at the least
17 conflict in the San Joaquin as the sort of initial
18 priorities.

19 You've got Data Basin on hand and it's building
20 and growing into an amazing tool. Utilize Data Basin for
21 those studies, rely on Data Basin for looking at those
22 areas that are identified as needing additional
23 transmission or that we need to look at a little more
24 deeply.

25 And the thinking on forward, yeah this process

1 has brought out really the value of landscape level
2 planning as we have also learned from some of our other
3 activities. We know now that West Mojave is going to be
4 very important looking forward and so we urge you again to
5 focus on West Mojave, focus on completing the Phase II of
6 DRECP and using Data Basin for that type of work.

7 And then finally looking at the north state and
8 thus far is there may be a sort of a disconnect between
9 what we may be anticipate are the resource values that are
10 up there versus some of things that we know about land use
11 constraints, transmission constraints, those types of
12 things. So let's look and see where we can get our energy
13 first and then even think about whether we need to be
14 looking at north state. If we are going to look at the
15 north state we've got a long ways to go in developing the
16 same level of information as we've generated in the desert
17 or the San Joaquin.

18 And then finally as we look at out of state,
19 we've built a great framework of knowledge here in
20 California, so that we have the understanding to make the
21 decisions. There may not be that same level of
22 environmental data in other places, in the western states,
23 and so we should get an equal level of information so that
24 we are actually comparing apples and oranges and making
25 good decisions.

1 With that I again thank you for your time here
2 today as well as the work that you've done thus far and
3 looking forward. And we'd be happy to answer any
4 questions.

5 CHAIRMAN WEISENMILLER: Thank you. Thanks for
6 being here.

7 MS. KELLY: All right, thank you.

8 CHAIRMAN WEISENMILLER: PG&E, Nathan?

9 MR. BENGTTSSON: Hi there, Nathan Bengtsson, PG&E.
10 Thanks to you all for holding this workshop. I'm on right?
11 Great, thank you.

12 Just a quick comment and then a question I think
13 probably for staff. I think it's really great that the
14 energy only numbers were put on those slides. I think it's
15 really good to have that side-by-side, so you can see those
16 objects going forward. As Brian often says it's an
17 envisioning process and the more vision you have the
18 better.

19 I had a quick question, it's my understanding
20 that the last workshop, the last ELUTG workshop there was
21 a discussion of sort of narrowing the area where we would
22 be focusing on environmental data. And I wondered if that
23 would be trued up in some way against what the Transmission
24 Group is doing? I know right now the Transmission Group is
25 working off what the Plenary Group initially gave them in

1 terms of their study range. Will that be impacted in any
2 way?

3 MR. TURNER: I think that's the usual clarifying
4 question, no. One result we had from the Transmission
5 Group is that the results that they were giving us were not
6 necessarily dependent on where that generation showed up
7 within that TAFA except for the Victorville-Barstow one,
8 which has those three regions that Sushant mentioned.

9 So it wasn't necessary to take any specific
10 generation assumptions from Environmental Group into the
11 Transmission Group. Now the Environmental Group would like
12 to look at some areas of potential generation to evaluate
13 environmental implications. We haven't gotten to that
14 stage yet and that's some of the outstanding work that
15 remains, but it isn't necessary for the transmission
16 evaluation.

17 MR. BENGTTSSON: Excellent, thank you for
18 clarifying. And thanks to you all for being here today.

19 CHAIRMAN WEISENMILLER: Thanks, same here.

20 LS Power?

21 MR. ARORA: Hello, this is Sandeep Arora with LS
22 Power. First of all I want to thank you for the
23 opportunity to be here and participate actually in the
24 entire RETI process so far.

25 And I want to take this opportunity to commend

1 the RETI team for all the work that they have done,
2 especially collecting the input from stakeholders and
3 especially within the last few weeks we have started the
4 out-of-state outreach process, which I think is very
5 effective. And we would like to see that continue going
6 forward.

7 For those who don't know, LS Power has been in
8 the business of developing, owning and operating power
9 generation and transmission assets since 1991. We are very
10 active in California and our interest is especially in
11 helping the RETI process develop forward is due to our long
12 transmission project in the Southwest Intertie Project.

13 The Southwest Intertie Project basically brings
14 about 1,000 megawatts of transfer capability into Eldorado
15 substation, so essentially when we are looking at these
16 out-of-state renewable portfolios that translates to
17 roughly 2,000 megawatts of Wyoming wind full capacitor
18 ability. Nameplate capacity that could be brought to the
19 SWIP-North transmission line into Eldorado, essentially
20 leveraging on the existing transmission investment that
21 California has made in the Harry Allen and Eldorado
22 transmission line.

23 I'm not here to talk about the project itself.
24 There is a lot of information available and we did provide
25 supporting documentation and comments to the RETI process.

1 There was a study report done by the Brattle Group and
2 NREL, which is available out there on the RETI website for
3 folks to take a detailed look at the benefits of the
4 project.

5 In terms of the RETI process itself, we did have
6 a couple of comments that we'll also write up more
7 formally. But as we compile all the different inputs we
8 are collecting through the process, especially the question
9 of out-of-state transmission. I think we should also look
10 at the question of is there an out-of-state transmission
11 solution that also has an interplay with these in-state
12 transmission constraints? So because it would help to
13 quantify the benefits, because out-of-state means if you
14 build a big transmission line it impacts the entire WECC
15 region, it brings reliability benefits.

16 And for instance, I can speak for the SWIP-North
17 Transmission Project based on the study work that we have
18 done, if you have the SWIP-North transmission line into
19 your power flow at (indiscernible) that helps reduce
20 California-Oregon Intertie path flows, improves 300 to 400
21 megawatt transfer conversion from California-Oregon
22 Intertie.

23 So to go back to the Northern California TAFE
24 that was being reviewed, does an out-of-state transmission
25 project have an impact in improving deliverability across

1 those TAFAs as well? I think that would be an important
2 question for us to address going forward.

3 And then in general as we do go forward we are
4 looking at different scenarios in terms of California is
5 going to be 50 percent RPS however, there are three
6 different scenarios which is status quo with just
7 California and EIM market-in-place. Scenario B with PAC
8 integration and scenario C is with the full westwide
9 integration.

10 As we were going and looking at these
11 transmission options our recommendation is to look at is
12 there a transmission option, maybe one or two or three,
13 which provides benefits to California ratepayers and in
14 general overall WECC under all three different scenarios?
15 I mean, that would get important consideration to include
16 within the RETI process as the report is being finalized
17 around mid-November timeframe.

18 And then to answer the question which was brought
19 up earlier by President Picker and Steve is how do these --
20 we are trying to answer the question on what do we need to
21 do to improve the ability at an import point into
22 California. But I think it's also important to answer that
23 question on what additional transmission is needed to
24 improve deliverability into that delivery point, the
25 boundary point, into California.

1 At what cost and how many megawatts of
2 deliverability can that transmission provide, so again
3 going back to SWIP-North roughly a 1,000 megawatts of
4 transfer capability can be essentially built at around \$400
5 billion capital costs, it brings 2,000 megawatt of full
6 capacity deliverability into California.

7 So those considerations should be reviewed.
8 Thanks a lot.

9 CHAIRMAN WEISENMILLER: Thank you. Anyone on the
10 phone?

11 MS. MILLIRON: Yes, we have one, the next
12 commenter, Steve Mills, your line's unmuted.

13 MR. MILLS: Oh, can you hear me?

14 CHAIRMAN WEISENMILLER: Yes.

15 MR. MILLS: Hello? Good. Good, okay. Yeah, my
16 name is Steve Mills and I did see that consensus building
17 with local governments is a key component of RETI 2.0. But
18 I see also that RETI hasn't been listening to San
19 Bernardino County and that concerns me greatly as a private
20 citizen. I often visit and recreate in the county and I
21 feel a need to take up the county's point of view when it
22 comes to RETI.

23 And the county's put that forward in a resolution
24 they enacted last February and they stated that they
25 tentatively approved utility scale renewables in only five

1 specifically identified areas. And these areas represent a
2 minuscule subset of Victorville-Barstow TAFA. But
3 nevertheless RETI is planning for 5,000 megawatts of
4 renewables in that TAFA and, of course, the associated
5 transmission work.

6 The County wrote a 2015 letter that took issue
7 with the Draft DRECP, but I did attend the -- or by remote
8 -- the July 29, 2016 RETI workshop. And it was said that
9 the TAFAs build on the DFA areas as they're designated in
10 the Draft DRECP, which of course entirely discounts the
11 County's position on that. And it also ignored the fact
12 that due to a great deal of criticism that came from all
13 quarters, the DRECP was revised to address federal land
14 only.

15 So the question is why then is RETI 2.0
16 continuing to adopt an obsolete planning approach that was
17 discarded by the DRECP itself where the same subject was
18 addressed in a recent letter that James Ramos, who is the
19 Chairman of the San Bernardino County Board of Supervisors,
20 sent to the CEC?

21 Chairman Ramos stated in that letter that, "We
22 are somewhat perplexed by the shift from the DRECP to RETI
23 2.0." Here he's politely, but unmistakably expressing
24 serious discomfort with the fact that RETI 2.0 has become
25 in a sense a continuation of the Draft DRECP. He also

1 reminded the CEC about the County's resolution that I
2 mentioned previously. And he noted that the County's never
3 received any substantive response to its stated concerns.

4 So what's RETI 2.0's take on the County's letter?
5 I have to say that it is an inaccurate take on that letter.
6 And that that tends to greatly distort and minimize the
7 County's position. So for instance, today's presentation
8 materials and the report by Mr. Harland reported that the
9 County's letter expressed confusion about the relationship
10 between the DRECP and RETI 2.0. But there's nothing in the
11 County's letter that shows even the slightest confusion on
12 that score. It is not a request for clarification.
13 Rather, it is a statement of alarm about the direction that
14 RETI 2.0 is taking.

15 Another example, today's presentation materials
16 say that according the County's letter utility scale should
17 be prioritized on transmission aligned degraded lands. But
18 the letter doesn't say anything like that. As stated in
19 the letter the County's resolution provides that utility
20 scale should be confined meaning at best tolerated in five
21 specific areas. And RETI can't claim that it's closely
22 collaborating with local governments when it's recasting
23 their criticisms as if they're weak endorsements of sorts
24 and mere requests for clarification.

25 So the County has spoken often and quite

1 forcefully on the subject. And we urge that the RETI
2 agencies really listen, which would mean taking another
3 look at the letters and the communications that have been
4 coming from the County and recalibrating the TAFAs so that
5 they comport with the County's vision.

6 That's my comment. Thank you.

7 CHAIRMAN WEISENMILLER: Thank you.

8 Anyone else on the line?

9 (No audible response.)

10 Okay. This meeting is adjourned.

11 (Whereupon, at 4:00 p.m., the workshop
12 was adjourned)


13 --oOo--
14
15
16
17
18
19
20
21
22
23
24
25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 12th day of September, 2016.



PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 12th day of September, 2016.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852