

## DOCKETED

<b>Docket Number:</b>	16-BUSMTG-01
<b>Project Title:</b>	2016 Business Meeting Transcripts
<b>TN #:</b>	211696
<b>Document Title:</b>	Transcript of 05/17/16 Business Meeting
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	6/1/2016 4:12:52 PM
<b>Docketed Date:</b>	6/1/2016



APPEARANCES

Commissioners

Robert Weisenmiller, Chair  
Karen Douglas  
Andrew McAllister  
Janea Scott

Staff Present:

Rob Oglesby, Executive Director  
Kourtney Vaccaro, Chief Counsel  
Alana Matthews, Public Adviser  
Cody Goldthrite, Secretariat  
Mark Hutchison, Honoree

	Agenda Item
Mike Monasmith	3
Mary Dyas	4
Jonathan Fong	5
Heather Raitt	7
Kevin Chou	7
Suzie Chan	8
David Nichols	9
Barry McLeod	10
Amir Ehyai	11
Anne Fisher	12
Sabaratnam Thamilsaran	13
Molly O'Hagan	14
Dustin Davis	15
Sonya Ziaja	16
David Hungerford	17
Anthony Ng	18
Consuelo Sichon	19
Kevin Mori	20

APPEARANCES (Cont.)

Others Present (\* Via WebEx)

Interested Parties

Greggory Wheatland, Ellison Schneider & Harris	3
Mitchell D. Weinberg, Calpine	3
Jason Lenzmeier, CHEERS	8
Craig Lewis, Clean Coalition	18
Kif Scheuer, Local Government Commission	18
Richard Schorske, ZNE Alliance	18
Anthony Edwin Nahas, UC Berkeley	18
*William Ponder, Groundwork San Diego	18
*Srinivas Sakumar, UCSD	18
Kristen Castanos, Stoel Rives	19

Public Comment

Nathan Bengtsson, PG&E	7
Peter Davis, ATRE	9
Nazar Pankiv	20
Larry McLaughlin, CA Community Colleges	26

I N D E X

	Page
Proceedings	9
Items	
1. CONSENT CALENDAR	13
a. CALIFORNIA HIGH SPEED RAIL AUTHORITY	
b. CALIFORNIA PUBLIC UTILITIES COMMISSION	
c. CITIZENS OVERSIGHT BOARD	
d. MODOC JOINT UNIFIED SCHOOL DISTRICT	
e. FELDERSTEIN FITZGERALD WILLOUGHBY & PASCUZZI LLP	
2. ENERGY COMMISSION COMMITTEE APPOINTMENTS	--
3. MISSION ROCK ENERGY CENTER PROJECT (15-AFC-02)	13
a. Possible approval of proposed order to accept the Executive Director's revised data adequacy recommendation for the Mission Rock Energy Center project, which staff has determined to be data adequate following the Applicant's filing of a supplement to the application for certification (AFC). The project would be a natural gas-fired, nominal 255-megawatt electrical generating facility consisting of 5 simple-cycle turbine generators. Twenty onsite battery units would provide storage of 100 MW hours (or 25 MWs for 4 hours). Synchronous condenser clutch technology would provide ancillary and grid reliability services. The project includes 6.6 miles of 230-kilovolt transmission lines to connect with Southern California Edison's Santa Clara Substation. Mission Rock would be constructed on a 10-acre site, approximately 2 miles west of the City of Santa Paula, in unincorporated Ventura County, California.	
b. Possible approval of a proposed order appointing a Siting Committee for the Mission Rock Energy Center Project.	

4.	SONORAN ENERGY PROJECT	17
5.	RUSSELL CITY ENERGY CENTER (01-AFC-07C)	21
<del>6.</del>	<del>HIGH DESERT POWER PLANT (97-AFC-01C)</del>	
	<del>a. Possible approval of the Committee Recommended Decision Granting Interim Relief to Drought-Proof the Facility (CRD), and related adoption order, granting interim water supply (drought) relief to the High Desert Power Plant, 97-AFC-01C, located near the City of Victorville in San Bernardino County, by authorizing a one-year extension on the use of groundwater (until September 30, 2017) and requiring other actions to improve the project's ability to store water.</del>	
	<del>b. Possible closed session deliberation on the above described CRD. (Government Code section 11126(e)(3).)</del>	
7.	POWER SOURCE DISCLOSURE PROGRAM IMPLEMENTATION RULEMAKING (14-OIR-01)	24
8.	CONSOL HOME ENERGY EFFICIENCY RATING SERVICES, INC.	32
9.	CALIFORNIA EMPLOYMENT TRAINING PANEL	35
10.	BENICIA UNIFIED SCHOOL DISTRICT	39
11.	CITY OF BALDWIN PARK	41
12.	OXNARD HARBOR DISTRICT	43
13.	ADM ASSOCIATES, INC.	47
14.	ENERGETICS INCORPORATED	55

I N D E X (Cont.)

15. REDUCING COSTS FOR COMMUNITIES AND BUSINESSES THROUGH INTEGRATED DEMAND-SIDE MANAGEMENT AND ZERO NET ENERGY DEMONSTRATIONS, GFO-15-308 58
- a. CALIFORNIA HOMEBUILDING FOUNDATION
    - i. CALIFORNIA ENVIRONMENTAL QUALITY ACT FINDINGS
    - ii. PROPOSED RESOLUTION APPROVING AGREEMENT EPC-15-042 WITH CALIFORNIA HOMEBUILDING FOUNDATION
  - b. ELECTRIC POWER RESEARCH INSTITUTE, INC.
  - c. PROSPECT SILICON VALLEY
16. REDUCE THE ENVIRONMENTAL AND PUBLIC HEALTH IMPACTS OF ELECTRICITY GENERATION AND MAKE THE ELECTRICITY SYSTEM LESS VULNERABLE TO CLIMATE IMPACTS: PHASE II, GFO-15-309 66
- a. SAN DIEGO ZOO GLOBAL
  - b. ANTELOPE VALLEY WATER STORAGE, LLC
  - c. UNIVERSITY OF CALIFORNIA, DAVIS
  - d. UNIVERSITY OF CALIFORNIA, IRVINE
  - e. DOE-LAWRENCE BERKELEY NATIONAL LABORATORY
  - f. ALTOSTRATUS, INC.
  - g. UNIVERSITY OF CALIFORNIA, DAVIS
  - h. UNIVERSITY OF CALIFORNIA, BERKELEY
  - i. THALASSA RESEARCH & CONSULTING, LLC
  - j. GHOULEM RESEARCH
  - k. UNIVERSITY OF CALIFORNIA, MERCED
17. ADVANCING SOLUTIONS THAT ALLOW CUSTOMERS TO MANAGE THEIR ENERGY DEMAND, GFO-15-311 73
- a. UNIVERSAL DEVICES, INC.
  - b. ELECTRIC POWER RESEARCH INSTITUTE (EPRI)
  - c. BMW OF NORTH AMERICA, LLC
  - d. ALTERNATIVE ENERGY SYSTEMS CONSULTING, INC.
  - e. UNIVERSITY OF CALIFORNIA, BERKELEY
  - f. UNIVERSITY OF CALIFORNIA, LOS ANGELES
  - g. CENTER FOR SUSTAINABLE ENERGY

h.	OHMCONNECT, INC.	
	I N D E X (Cont.)	
i.	ELECTRIC POWER RESEARCH INSTITUTE, INC.	
j.	DOE-LAWRENCE BERKELEY NATIONAL LABORATORY	
18.	THE EPIC CHALLENGE: ACCELERATING THE DEPLOYMENT OF ADVANCED ENERGY COMMUNITIES, GFO-15-312	85
a.	ZIPPOWER, LLC	
b.	CHARGE BLISS, INC.	
c.	CLEAN COALITION	
d.	UNIVERSITY OF CALIFORNIA, BERKELEY	
e.	UNIVERSITY OF CALIFORNIA, LOS ANGELES	
f.	CITY OF BERKELEY	
g.	GROUNDWORK SAN DIEGO-CHOLLAS CREEK	
h.	LOCAL GOVERNMENT COMMISSION	
i.	ZERO NET ENERGY ALLIANCE	
j.	BIODICO, INC.	
k.	ZERO NET ENERGY ALLIANCE	
l.	UNIVERSITY OF CALIFORNIA, IRVINE	
19.	DEVELOPING THE SMART GRID OF 2020: CLEAN, SAFE, AND HIGHLY INTELLIGENT, GFO-15-313	104
a.	ELECTRIC POWER RESEARCH INSTITUTE, INC.	
b.	SIEMENS CORPORATION	
c.	DOE-SLAC NATIONAL ACCELERATOR LABORATORY	
d.	ONSET, INC.	
20.	ADVANCING WATER AND ENERGY EFFICIENT STRATEGIES AND TECHNOLOGIES IN CALIFORNIA, GFO-15-317	110
a.	UNIVERSITY OF CALIFORNIA, DAVIS	
b.	VICTOR VALLEY WASTEWATER RECLAMATION AUTHORITY	
21.	Minutes	117
22.	Lead Commissioner or Presiding Member Reports	118

I N D E X (Cont.)

23. Chief Counsel's Report	---
a. <i>In the Matter of U.S. Department of Energy (High Level Waste Repository) (Atomic Safety Licensing Board, CAB-04, 63-001-HLW)</i>	
b. <i>Communities for a Better Environment and Center for Biological Diversity v. Energy Commission (Court of Appeal, First Appellate District, #A141299)</i>	
c. <i>Energy Commission v. SoloPower, Inc. and SPower, LLC. (Sacramento County Superior Court #34-2013-00154569)</i>	
d. <i>Energy Commission v. Mendota Bioenergy, LLC. (Sacramento County Superior Court #34-2016-00192835)</i>	
<p>The Energy Commission may also discuss any judicial or administrative proceeding that was formally initiated after this agenda was published; or determine whether facts and circumstances exist that warrant the initiation of litigation, or that constitute a significant exposure to litigation against the Commission.</p>	
24. Executive Director's Report	141
25. Public Adviser's Report	143
26. Public Comment	144
Adjournment	147
Reporter's Certificate	148
Transcriber's Certificate	149

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

P R O C E E D I N G S

MAY 17, 2016 10:06 a.m.

CHAIRMAN WEISENMILLER: Good morning. Let's start the meeting with the Pledge of Allegiance.

(Whereupon, the Pledge of Allegiance was recited in unison.)

CHAIR WEISENMILLER: So let's start the business meeting. I was going to note that the High Desert item is being held. And let's start out with an event.

Mark, why don't you come on in?

We want to recognize one of our valuable employees who's actually retiring now. And so again, I have a resolution, which I will read into the record. And then have Mark come up and have some photographs taken and give him the plaque.

Okay. So,

"Whereas Mark Hutchison began working for the State of California on September 16th, 1985 as an Auditor with the Department of Finance, and began at the California Energy Commission as a Budget Analyst in May of 1988.

"Whereas Mark Hutchison left the Energy Commission for the first time in July 1990 for a promotion as staff services manager at the Governor's Office of Criminal Justice Planning only to transfer back to the

1 Energy Commission when he came to his senses in 1992."

2 (Laughter.)

3 MR. HUTCHISON: That's a very true statement.

4 CHAIRMAN WEISENMILLER: "Then served as  
5 Budget Officer and Financial Services Branch  
6 Manager."

7 "Whereas Mark again left the Energy  
8 Commission for a promotion as child protection  
9 services in 2005, but again quickly realized he  
10 wanted to come home to the Energy Commission.

11 "Whereas he returned and worked as  
12 assistant deputy director for the efficiency  
13 Division, Renewable Office Manager, and an  
14 Administrator of the American Recovery and  
15 Reinvestment Act, ARRA Program."

16 "Whereas Mark served as Deputy Director for  
17 the Administrative Services Division from 2010  
18 through 2016 providing service and contributions to  
19 every program and office of the organization  
20 demonstrating the importance of the often  
21 unappreciated Admin Unit to an organization's  
22 success."

23 "Whereas Mark not only had to respond to  
24 the needs of an entire Energy Commission, but also  
25 the Natural Resources Agency, Department of Finance,

1 and Legislative Analyst Office developing long-term  
2 strong relationships on every front. And those  
3 relationships were key to successfully navigating  
4 the Annual Budget Cycle and securing the ongoing  
5 funding and resources for many important energy  
6 programs.

7 "Whereas Mark Hutchison demonstrated  
8 exceptional work habits, a pleasant demeanor and  
9 displayed a positive attitude towards his job and  
10 others,

11 "Whereas as Mark Hutchison has been a fit,  
12 and well-dressed staffer, but also the only Energy  
13 Commission CFO to testify at the Legislature wearing  
14 one brown shoe and one black shoe."

15 (Laughter.)

16 MR. HUTCHISON: That is a true story. It  
17 was a long time ago though.

18 CHAIRMAN WEISENMILLER: And,

19 "Whereas Mark Hutchison will be missed on  
20 the soccer field, the golf course, and as barbecue  
21 master at the Energy Commission's annual picnic, now  
22 therefore be it resolved that the management and  
23 staff of the California Energy Commission recognize  
24 and commend Mark Hutchison for his leadership,  
25 dedication and significant contributions to all

1 areas of the California Energy Commission."

2 Again, thanks for your public service.

3 (Applause.)

4 MR. HUTCHISON: Thank you very much.

5 I think Drew did some serious digging  
6 there. I can't believe you came up with the brown  
7 shoe-black shoe.

8 I did want to say a few things. Thank you  
9 so much for the recognition and kind words.

10 As a Deputy I'm only as effective as the  
11 staff that work for me, so I must give due credit to  
12 the hardworking, dedicated and caring staff in  
13 Administrative Services. I think a couple of them  
14 are here in the audience.

15 It is the people in this organization that  
16 I'll miss the most and have made my retirement  
17 decision, so difficult. But I do have some comfort  
18 in my pending retirement knowing that I'm leaving  
19 the organization on a positive note.

20 The CEC is recognized to as a go-to  
21 organization with an excellent reputation for  
22 getting things done. This has been exemplified by  
23 our success story in our budget hearings and solid  
24 working relationships with legislative staff,  
25 control agencies, and Administration. And really,

12

1 during my time here it hasn't always been this way.  
2 And I give a lot of credit to the Commission, our  
3 executive leadership, and the dedicated and  
4 passionate staff.

5 Thank you, again.

6 (Whereupon Photographs are taken)

7 CHAIRMAN WEISENMILLER: Okay. Again, I'll  
8 remind everyone that Item 6 is postponed, the High  
9 Desert, and let's go to the Consent Calendar.

10 COMMISSIONER DOUGLAS: Move the Consent  
11 Calendar.

12 COMMISSIONER SCOTT: Second

13 CHAIRMAN WEISENMILLER: All those in favor?

14 (Ayes.)

15 CHAIRMAN WEISENMILLER: The Consent  
16 Calendar passes 4-0.

17 Let's go on to Item 3.

18 MS. VACCARO: Chair Weisenmiller, just for  
19 the record it passed 4-0, because we have an absent  
20 Commissioner. So I just want the record to reflect  
21 that Commissioner Hochschild is not present at  
22 today's meeting.

23 CHAIRMAN WEISENMILLER: That's good. And  
24 that will be the case as we go through every other  
25 item.

1 MS. VACCARO: Correct.

2 CHAIRMAN WEISENMILLER: Okay. So anyway,  
3 in Item 2 we have no item, so let's go on to 3.  
4 Mission Rock Energy Center Project, staff?

5 MR. MONASMITH: Good morning Chair,  
6 Commissioners. My name is Mike Monasmith, Project  
7 Manager for the Energy Commission's review of the  
8 Mission Rock Energy Center Application for  
9 Certification or AFC.

10 On December 30, 2015, Mission Rock Energy  
11 Center, LLC, filed an Application for Certification  
12 to construct and operate an electrical generating  
13 facility in Ventura County, California,  
14 approximately 2 miles west of Santa Paula, near  
15 State Highway 126.

16 The Mission Rock Energy Center, or Mission  
17 Rock, would be a natural gas-fired, nominal 255-  
18 megawatt electrical generating facility. It would  
19 also provide 100 MWhr of battery storage and  
20 synchronous condenser clutch technology to provide  
21 ancillary and grid reliability services.

22 Energy Commission staff completed its  
23 initial data adequacy review of the AFC in  
24 accordance with the California Code of Regulations  
25 Title 20, Section 1704, and Division 2, Chapter 5,

1 Appendix B for the 12-month permitting process.

2 On January 29th, 2016 the Energy Commission  
3 adopted the Executive Director's recommendation that  
4 the information contained in the AFC was deficient  
5 in 11 areas: namely air quality, biological  
6 resources, cultural resources, project review,  
7 reliability, soils, traffic and transportation,  
8 transmission design, visual resources, waste  
9 management and water resources.

10 On April 29, 2016 the Applicant submitted  
11 supplemental information reviewed by staff. And the  
12 Executive Director provided a revised recommendation  
13 that the AFC, with the supplement, now contains all  
14 the information required by California Code of  
15 Regulations Title 20, Section 1704, including  
16 Appendix B for the 12-month AFC process.

17 Therefore staff proposes that you accept  
18 the Executive Director's recommendation, finding the  
19 application with supplemental information complete  
20 or data adequate and name a committee to oversee  
21 this Mission Rock proceeding.

22 Thank you.

23 CHAIRMAN WEISENMILLER: Thank you.

24 Applicant?

25 MR. WHEATLAND: Good morning, I'm Gregg

1 Wheatland. And with me this morning is Mitch  
2 Weinberg.

3 MR. WEINBERG: Good morning.

4 MR. WHEATLAND: We'd like to thank the  
5 staff for its recommendation. We're here to answer  
6 any questions that you may have.

7 Mitch, do you want to?

8 MR. WEINBERG: No, not at this time. Any  
9 questions we'd be happy to answer.

10 CHAIRMAN WEISENMILLER: Great. Thanks.

11 Okay. Any public comment either in the  
12 room or on the phone?

13 (No audible response.)

14 Okay. Then let's transition to  
15 Commissioner discussion. Actually, at this point  
16 let me say that as we move forward in terms of let's  
17 first deal with the staff possible approval.

18 Commissioner Douglas?

19 COMMISSIONER DOUGLAS: So I'll move to find  
20 the project data adequate.

21 COMMISSIONER SCOTT: Second.

22 CHAIRMAN WEISENMILLER: All those in favor?

23 (Ayes.)

24 Again, that passed 4-0.

25 Then let's go on to possible approval of a

16

1 proposed order appointing a Siting Committee.  
2 Commissioner Douglas will be the lead on this and  
3 Commissioner Scott will be the second member.

4 COMMISSIONER MCALLISTER: I'll move that  
5 item, move Item 3b, yeah before anybody has second  
6 thoughts.

7 COMMISSIONER SCOTT: Second.

8 CHAIRMAN WEISENMILLER: All those in favor?

9 (Ayes.)

10 CHAIRMAN WEISENMILLER: That also passes 4-  
11 0.

12 So let's go on to Item 4 -- thank you.

13 MR. WEINBERG: Thank you very much.

14 CHAIRMAN WEISENMILLER: Let's go on to Item  
15 4, Sonoran Energy Project. Staff?

16 MS. DYAS: Good morning, Commissioners. My  
17 name is Mary Dyas and I'm the Compliance Project  
18 Manager for the Sonoran Energy Project, licensed as  
19 the Blythe Energy Project Phase II.

20 With me this morning is Elena Miller,  
21 Senior Staff Attorney.

22 The proposed Sonoran Energy Project was  
23 originally licensed in 2005 as a 520 megawatt (MW)  
24 combined-cycle facility to be located within the  
25 City of Blythe.

1           On February 4, 2016 AltaGas filed a  
2 petition requesting an extension of the start of  
3 construction deadline for 18 months, from December  
4 14, 2016 to June 14, 2018 for the proposed Sonoran  
5 Energy Project. The Petitioner seeks to ensure  
6 adequate time for staff's review of the August 2015  
7 Sonoran Energy Project Petition to Amend and the  
8 Energy Commission's consideration of the proposed  
9 modifications and name changed as well as time for  
10 Altagas to secure an engineering, procurement and  
11 construction contract, and subsequently comply with  
12 pre-construction conditions of certification.

13           It should be noted at this time, that this  
14 is the fourth request to extend the start of  
15 construction deadline for this project, but the  
16 first under the current owner.

17           Staff reviewed the petition to extend and  
18 concludes that good cause exists to extend the start  
19 of construction deadline for the Sonoran Energy  
20 Project an additional 18 months. In staff's view,  
21 the three factors previously articulated by the  
22 Energy Commission as important to determining  
23 whether good cause exists have been met.

24           These factors are: Has the project owner  
25 been diligent in seeking to begin construction, and

1 seeking the extension; two, whether factors beyond  
2 the project owner's control had prevented success;  
3 and three, a comparison of the amount of time and  
4 resources that would have been spent in processing  
5 any amendments to the license if the extension is  
6 granted versus the amount of time and resources that  
7 would be spent in processing a new Application for  
8 Certification if the extension were denied.

9           On February 17th, 2016 a Notice of Receipt  
10 for the petition to extend the start of construction  
11 was mailed to the post-certification mail list,  
12 docketed and posted to the Web.

13           On March 22nd, 2016 staff's analysis and  
14 recommendation to approve the petition was mailed to  
15 the post-certification mail list, docketed and  
16 posted to the Web. No comments have been received  
17 to date.

18           At this time staff recommends approval of  
19 the February 2016 petition to extend the start of  
20 construction deadline for 18 months, from December  
21 14th, 2016 to June 14th, 2018.

22           Thank you.

23           CHAIRMAN WEISENMILLER: Applicant?

24           MS. CASTANOS: Good morning, Kristen  
25 Castanos, I'm Counsel for the Applicant.

1 I just want to thank staff for the  
2 recommendation and the Commission for their time  
3 today. And we look forward to working with staff on  
4 our pending PTA.

5 CHAIRMAN WEISENMILLER: Great.

6 Any public comment from anyone in the room?

7 (No audible response.)

8 Any public comment from anyone on the  
9 phone?

10 (No audible response.)

11 Okay. Then let's transition the  
12 conversation to the Commissioners.

13 Commissioner Douglas?

14 COMMISSIONER DOUGLAS: So briefly,  
15 Commissioners, as Mary has said there's an existing  
16 license for this power plant that is set to expire.  
17 There's a pending proceeding where a Committee is  
18 reviewing a proposed amendment to this project, and  
19 the work on the review of the amendment will not be  
20 completed before the expiration of this license.  
21 So by taking this action today the Commission would  
22 be extending the life of the license to provide time  
23 for the work on the amendment proceeding to be  
24 completed.

25 I obviously strongly recommend this and

1 I'll move approval of this item.

2 COMMISSIONER MCALLISTER: I'll second.

3 CHAIRMAN WEISENMILLER: Okay. All those in  
4 favor?

5 (Ayes.)

6 CHAIRMAN WEISENMILLER: This item also  
7 passes 4-0. Thank you.

8 Let's go on to Item Number 5, which is  
9 Russell City Energy Center.

10 MR. FONG: Good morning, Mr. Chairman and  
11 Commissioners, my name is Jonathan Fong, Compliance  
12 Project Manager on behalf of the Energy Commission  
13 for the Russell City Energy Center.

14 Russell city is a 600 megawatt natural gas-  
15 fired, combined cycle facility that has been in  
16 commercial operation since August 8th, 2013. The  
17 facility is located in the City of Hayward in  
18 Alameda County, California.

19 Today I am presenting a Petition to Amend  
20 submitted by Calpine Corporation to amend the final  
21 decision modifying Visual Resources Condition of  
22 Certification VIS-10, which requires the project  
23 owner to implement an offsite Visual Enhancement  
24 Plan.

25 Joining me today from the Energy Commission

21

1 is Staff Attorney Kevin Bell; Eric Knight, Office  
2 Manager of the Community Resources Unit as well.

3 Representing the Applicant today is Barbara  
4 McBride, Calpine Director of Environmental Services;  
5 Jill Van Dalen, Calpine Senior Counsel and Gregg  
6 Wheatland, outside counsel representing Calpine.

7 Condition of Certification VIS-10 was  
8 originally required as a means to compensate for  
9 Russell City's impact in the surrounding visual  
10 landscape, by reducing the visibility of its  
11 existing high color-contrasting offsite buildings  
12 that line the edge of the Hayward Regional Shoreline  
13 in proximity to the project.

14 Specifically, VIS-10 required a planting of  
15 a row of evergreen trees along the west edge of an  
16 Industrial Corridor, starting at a warehouse complex  
17 to the west of Russell City, and continuing south  
18 along the parking lot of an adjacent business park.

19 The requested modifications would amend the  
20 Visual Enhancement Plan due to individual landowner  
21 restrictions and property constraints, which has  
22 prevented the Project Owner from completing the  
23 required landscaping.

24 The petition proposes another option to  
25 reduce the contrast of the exterior walls. Rather

1 than planting trees to screen the exterior view, the  
2 Project Owner has proposed painting selected  
3 exterior walls in muted colors, and a planting of a  
4 row of trees in an alternate location on a City of  
5 Hayward-owned parcel.

6 In the summer of 2014, Energy Commission  
7 Visual Resources staff approved a color palette for  
8 the offsite building paintings. The Project Owner  
9 was able to obtain consent from the property owners  
10 and approved the landscape and approved the  
11 painting.

12 The City of Hayward approved the  
13 Landscaping Plan in October of 2014 and the project  
14 installed the landscaping in early 2015.

15 Energy Commission staff has conducted field  
16 observations of the painting and landscaping, and  
17 determined that the implemented offsite visual  
18 mitigation has been successfully implemented, and is  
19 consistent with the intent of VIS-10.

20 Therefore, Energy Commission staff finds  
21 that the petition is consistent with Title 20  
22 1769(a) of the California Code of Regulations. And  
23 recommends approval of the Revised Condition of  
24 Certification VIS-10 based upon staff's findings and  
25 subject to the Revised Condition of Certification.

1           Thank you, and staff is available to answer  
2 any questions.

3           CHAIRMAN WEISENMILLER: Great, thank you.  
4           Applicant?

5           MR. WHEATLAND: Good morning again, Gregg  
6 Wheatland and with me is Barbara McBride. We thank  
7 the staff for its recommendation and we're available  
8 to answer any questions.

9           CHAIRMAN WEISENMILLER: Great. Is there  
10 anyone who wants to comment on this item in the  
11 room, or on the line?

12           (No audible response.)

13           Then let's transition over to the  
14 Commissioner. Commissioner Douglas?

15           COMMISSIONER DOUGLAS: Briefly,  
16 Commissioners.

17           As was noted in the presentation I think  
18 the mitigation in question here, particularly  
19 painting the buildings definitely made sense. And  
20 so I recommend this item to approval. I'll move  
21 approval of this item.

22           COMMISSIONER SCOTT: Second.

23           CHAIRMAN WEISENMILLER: All those in favor?

24           (Ayes.)

25           CHAIRMAN WEISENMILLER: This item also

1 passes 4-0. Thank you.

2 Let's go on to Number 7, Power Source  
3 Disclosure Program Implementation Rulemaking.  
4 Staff?

5 MR. CHOU: Good morning, Commissioners.  
6 I'm Kevin Chou from the Renewable Energy Division  
7 and I'm joined by Staff Attorney Lisa DeCarlo.

8 We're here today to ask for your approval  
9 for the proposed express terms for the proposed  
10 express terms for the Power Source Disclosure  
11 Program.

12 These regulations are being modified  
13 primarily, so they are in line with significant  
14 statutory changes brought by Assembly Bill 162, and  
15 a minor change brought about by Assembly Bill 2227.  
16 To an extent these changes are already being  
17 practice voluntarily by retail suppliers.

18 We proposed a few other light, but  
19 substantive changes, based on stakeholder comments  
20 and clarifications identified by staff.

21 We will start with a brief background of  
22 the power source regulations. Senate Bill 1305  
23 required all electricity providers to disclose  
24 quarterly an annual fuel mix information to retail  
25 customers in the form of a Power Content Label. The

25

1 Power Content Label identifies the fuel mix and  
2 technology type of a retail supplier's source of  
3 power and including net system power as  
4 representation of California's power mix.

5 Assembly Bill 162 was signed into law in  
6 October of 2009. It removed the Net System Power  
7 Disclosure requirement and replaced it with Total  
8 California System Electricity. It added the  
9 definition of "unspecified sources of power,"  
10 therefore requiring retail suppliers to disclose all  
11 fuel mixes leading the creation of this category to  
12 facilitate that.

13 Reporting requirements were changed from a  
14 quarter to annual basis. It also called for the  
15 alignment of renewable energy definitions with those  
16 identified by California's Renewables Portfolio  
17 Standard Program.

18 Lastly, in 2012 Assembly Bill 2227 removed  
19 a statutory reporting due date requirement thus  
20 giving the Energy Commission discretion of setting a  
21 reporting due date.

22 This rulemaking formally began on December  
23 18th, 2015 with the publication of the Notice of  
24 Proposed Action or NOPA in OAL's Notice Register.  
25 That same date, the Energy Commission posted the

1 NOPA, as well as the Express Terms in the  
2 Regulations and the Initial Statement of Reasons.

3 This began the 45-day comment period on the  
4 proposed Express Terms to the Regulations.

5 The Commission has one year from the date  
6 of the NOPA Publication, so until December of this  
7 year, to complete the Regulations and submit the  
8 final rulemaking package to the Office of  
9 Administrative Law for approval.

10 The NOPA included the notice for the staff  
11 workshop and the adoption hearing, which is today's  
12 hearing, how to submit comments and where to find  
13 comments related to the rulemaking. The NOPA also  
14 outlines the scope of the proposed Express Terms,  
15 the Initial Statement of Reasons laid out the  
16 rationale for the proposed changes to Regulations.

17 After posting the proposed language for  
18 comment, we held staff workshop on January 6th and  
19 received ten sets of written comments by the end of  
20 the 45-day comment period, and in addition to oral  
21 comments made at the workshop.

22 Staff revised language of the Express Terms  
23 in response to comments and released that version  
24 for a 15-day comment period on March 29th. We  
25 received an additional four sets of comments from

1 that revised language.

2 In the interest of time, rather than  
3 calling out each and every specific change made to  
4 the Regulations we've summarized all of the proposed  
5 major substantive changes to the Regulations. These  
6 proposals are based on stakeholder input from 45 and  
7 15-day comments along with clarifications made by  
8 staff.

9 First, an annual Consumer Power Content  
10 Label that identifies the actual power mix of a load  
11 serving entity in California, as a whole for the  
12 previous calendar year, denominated as specific  
13 purchases or unspecified purchases as required by  
14 Assembly Bill 162.

15 Second, the mandatory reporting and  
16 disclosure of a power mix for all load-serving  
17 entities as required by AB 162.

18 Third, the alignment of Renewable Energy  
19 definitions with California's RPS definitions as  
20 required by AB 162.

21 Fourth, the elimination of requirements to  
22 make quarterly disclosures and fuel mix projections  
23 as required by AB 162.

24 Fifth, the due date for annual reports will  
25 be moved from March 1st to June 1st as provided by

1 AB 2227.

2 Sixth, the inclusion of new guidance  
3 pertaining to the reporting of pump storage  
4 hydroelectricity. This guidance was proposed to  
5 help prevent the distortion of reported  
6 hydroelectric purchases.

7 Seventh, the substitution of extensive  
8 written guidance for the formatting of a Power  
9 Content Label with a mandatory template. The use of  
10 a mandatory template for Power Content Labels was  
11 proposed to mitigate the variances of labels that  
12 are produced by utilities.

13 Eighth, the extension of Public LSE's  
14 exemptions from auditing requirements for LSEs,  
15 which offer multiple electric service products.  
16 This proposal would allow public utilities to sell  
17 the test to one electric service product and provide  
18 audits for additional products. This would address  
19 concerns that the current existing audit exemption  
20 has been restrictive and would prevent some public  
21 agencies with limited resources from offering  
22 customers optional electric service products.

23 Ninth, the elimination of the requirement  
24 for the reporting of Energy Commission certificates.  
25 This is a defunct program and with the current

1 WREGIS tracking and verification system in place it  
2 would serve no additional purpose.

3 And tenth finally, non-substantive,  
4 terminological, grammatical, and clarifying changes.

5 Lastly, with respect to outstanding issues  
6 staff is aware of issues related to the reporting of  
7 renewable energy credits. We want to make clear  
8 that the determination was made to keep the scope of  
9 this rulemaking on codifying AB 162.

10 As noted in our January workshop staff will  
11 initiate a new pre-rulemaking proceeding shortly  
12 after this current rulemaking concludes. We expect  
13 to address the issues of unbundled RECs, the  
14 retirement of RECs, and potentially the reporting of  
15 greenhouse gas emissions from pending legislation.

16 With that being said this concludes my  
17 presentation. We're open to questions.

18 CHAIRMAN WEISENMILLER: Great, let's take  
19 public comment. PG&E?

20 MR. BENGTTSSON: Apologies, when you sit in  
21 the back it's a long walk to the front.

22 Good morning, Commissioners. Thanks very  
23 much for the opportunity to speak. As you know,  
24 PG&E previously comments on the revisions to Power  
25 Source Disclosure Program Regulations to express

1 concern that the critical issue of how unbundled  
2 RECs should or should not be treated with regard to  
3 the Power Content Label was not addressed.

4 But as you've heard, staff had some  
5 justification for doing that and they have a plan  
6 for addressing this issue with another proceeding  
7 later this year. We strongly support that plan. We  
8 look forward to participating in that proceeding and  
9 we congratulate them on getting the other work done  
10 that they needed to get done.

11 So we'll be back to talk about this some  
12 more. And we thank staff for their recognition that  
13 this issue is one that needs to be addressed.

14 CHAIRMAN WEISENMILLER: Great, thank you.

15 Anyone else either in the room or on the  
16 line with public comments?

17 (No audible response.)

18 Okay. Then let's transition to the dais.  
19 We've already noted Commissioner Hochschild is  
20 actually on duty in Mexico today, so I think in  
21 terms of looking at this, I think it makes sense to  
22 move forward on implementing the statute. And so do  
23 you folks have any questions or comments?

24 COMMISSIONER DOUGLAS: No. I'll move this  
25 item.

1 COMMISSIONER MCALLISTER: I'll second.

2 CHAIRMAN WEISENMILLER: All those in favor?

3 (Ayes.)

4 CHAIRMAN WEISENMILLER: This passes 4-0.

5 Thank you.

6 Let's go on to Item 8, ConSol Home Energy  
7 Efficiency Rating Services, Inc. Staff?

8 MS. CHAN: Good morning Chair and  
9 Commissioners. I'm Suzie Chan of the Assistant  
10 Building and Compliance Office in the Efficiency  
11 Division.

12 I'm here to recommend that the Energy  
13 Commission approve ConSol Home Energy Efficiency  
14 Rating Services or CHEERS as a Home Energy Rating  
15 System or HERS provider for field verification and  
16 diagnostic testing for residential prescriptive  
17 Heating, Ventilation and Air Conditioning or HVAC  
18 alterations in compliance with the 2013 Building  
19 Energy Efficiency Standards.

20 Applicants seeking approval to be a HERS  
21 Provider must demonstrate the ability to create and  
22 maintain a registry and database, train and certify  
23 HERS Raters, create a Quality Assurance Program and  
24 be able to conduct quality assurance checks on HERS  
25 Raters work.

1           Staff has reviewed CHEERS HERS Provider  
2 Application, their training materials, and tested  
3 the functional and technical elements of the CHEERS  
4 HERS Data Registry and determined that all  
5 components of the application meets the requirements  
6 of the 2013 Standards in the HERS Regulations.

7           Based on this information, staff requests  
8 the Energy Commission confirms the Executive  
9 Director's finding and accept his recommendations to  
10 certify CHEERS as a HERS Provider for Field  
11 Verification and Diagnostic Testing for residential  
12 prescriptive HVAC alterations and a CHEERS HERS Data  
13 Registry as a residential data registry, as required  
14 by the 2013 Standards.

15           Thank you. I'm available for any questions  
16 and staff with CHEERS is also available to answer  
17 any questions.

18           CHAIRMAN WEISENMILLER: Okay. I was going  
19 to say CHEERS, do you want to come up? Please.

20           MR. LENZMEIER: Good morning,  
21 Commissioners. My name is Jay Lenzmeier and I am  
22 the Executive Director for CHEERS.

23           First, I would like to thank you for  
24 today's consideration for the CHEERS approval as a  
25 HERS Provider for alterations to existing buildings

1 under the 2013 Standards. As a HERS Provider CHEERS  
2 understands it's important role and will work very  
3 closely with the California Energy Commission to  
4 ensure that the goals to the 2013 Standards are met.

5           Secondly, I would also like to inform the  
6 Commissioner that CHEERS has recently submitted its  
7 application to become a provider for NSHP. We are  
8 anticipating an approval in a short period of time.  
9 Once that approval is obtained CHEERS will then be  
10 operating as full service provider for the 2013  
11 Standards.

12           In addition, CHEERS has already begun work  
13 to update its registry to accommodate the 2016 Code.

14           Lastly, I just want to extend my sincere  
15 thanks to the CEC staff for the hard work and  
16 patience we have received in getting to this point.  
17 I believe we have developed a very good working  
18 relationship with them and I look forward to working  
19 with them in the near future as we begin operations  
20 as a full service provider.

21           That's all I have. Thank you very much.

22           CHAIRMAN WEISENMILLER: Thank you.

23           Any other comments in the room or on the  
24 phone?

25           (No audible response.)

1           Then let's transition to the Commission,  
2 Commissioners?

3           Mr. McAllister?

4           COMMISSIONER MCALLISTER: Yeah, so very  
5 supportive of this. As we heard, this step is a  
6 relatively limited step for HVAC change outs for  
7 2013 Standards, which obviously 2016's effective  
8 date is now here on January of 2017.

9           This is a great step for CHEERS. I want to  
10 sort of thank CHEERS itself and staff Suzie, Rashid,  
11 and the rest of the staff who worked really hard to  
12 make this happen and get this on this business  
13 meeting.

14           And hopeful, happy to hear that this is one  
15 step, and you've got everything in the pipeline to  
16 sort of continue on and get full coverage, which is  
17 great. You know, we need that coverage in the  
18 marketplace to ensure quality, both for existing and  
19 new. And I'm really happy to see this on the agenda  
20 and in strong support.

21           So I'll move Item 8.

22           COMMISSIONER DOUGLAS: Second.

23           CHAIRMAN WEISENMILLER: All those in favor?

24           (Ayes.)

25           CHAIRMAN WEISENMILLER: This item also

1 passes 4-0.

2 Let's go on to Item Number 9, California  
3 Employment Training Panel. Staff?

4

5 MR. NICHOLS: I must have hit it, I  
6 apologize.

7 Good morning, Commissioners. I'm David  
8 Nichols with the Zero Emissions Vehicle  
9 Infrastructure Office. I am here today seeking your  
10 approval for the proposed resolution for Agreement  
11 600-15-012 with the California Employment Training  
12 Panel for a new interagency agreement for \$2  
13 million.

14 This new agreement continues our ongoing  
15 alternative renewable fuels and vehicle technology  
16 program funding in workforce development.

17 Staff is pleased to report that the  
18 Employment Training Panel has worked with the Energy  
19 Commission since June of 2010 to help organizations  
20 deliver on training in alternative fuels and  
21 advanced transportation technologies throughout our  
22 state. To date, they have delivered training to  
23 over 15,100 participants, serving over 60 companies  
24 in 10 municipalities.

25 The Employment Training Panel has

1 established training mechanisms with organizations  
2 on the leading edge of California's clean fuels  
3 industry. Along with multiple clean fuel companies  
4 they work with the California community colleges,  
5 multiple public transit agencies delivering funding  
6 for training to our current and future workforce,  
7 and statewide efforts in first responder training.

8 I trust you will approve this resolution  
9 and I am happy to answer any questions you may have  
10 today. Thank you.

11 CHAIRMAN WEISENMILLER: Thank you.

12 Any comments from anyone in the room or on  
13 the phone?

14 (No audible response.)

15 Okay. Then again, let's transition over to  
16 the Commissioners.

17 MR. DAVIS: (Indiscernible)

18 CHAIRMAN WEISENMILLER: Go ahead, come on  
19 up please. Identify yourself.

20 MR. DAVIS: Good morning. My name is Peter  
21 Davis. I'm the Statewide Director for Advanced  
22 Transportation and Renewable Energy for the  
23 California Community College Sector.

24 Hello again. I just want to tell you that  
25 this is a really effective program. We've been able

37

1 to reach out and help industry make that transition  
2 and maintain their effort. Thank you very much, I  
3 really support it.

4 CHAIRMAN WEISENMILLER: Thank you. Any  
5 other questions or comments?

6 (No audible response.)

7 Okay, then Commissioner Scott?

8 COMMISSIONER SCOTT: Right. Well, I want  
9 to underscore how much I appreciate the good  
10 partnership that the Energy Commission has with the  
11 California Employment Training Panel.

12 This is an important program, so I strongly  
13 recommend your support. It's terrific that we have  
14 a little bit of funding dollars that we can lend  
15 towards to really helping people to jump into the  
16 alternative and renewable fuel and vehicle worlds,  
17 so that the technologies that we help support,  
18 people know how to work on those and how to get  
19 involved in that part of the market in the industry.

20 So if you all don't have questions I will  
21 move approval of Item 9.

22 COMMISSIONER DOUGLAS: I'll just briefly  
23 say I'm also strongly supportive of this  
24 partnership. And, you know, it's been years really  
25 that we've now been working the Employment Training

1 Panel and we've seen great results.

2 We all know that part of scale up and part  
3 of really getting to scale in our -- whether it's  
4 clean fuels and renewable energy technologies -- is  
5 ensuring that there is the well-trained workforce  
6 that's there and ready to step in. And back in the  
7 early days of even administering Recovery Act money,  
8 began to develop the partnerships with some  
9 workforce training agencies and partners. And it's  
10 really great to see that it has been sustained and  
11 really strengthened over time.

12 I appreciate, Commissioner Scott, your  
13 leadership in ensuring that this partnership  
14 continues. And with that, it was a long second.

15 CHAIRMAN WEISENMILLER: Fine. Okay. All  
16 those in favor?

17 (Ayes.)

18 CHAIRMAN WEISENMILLER: This passes 4-0.

19 MR. DAVIS: Thank you

20 CHAIRMAN WEISENMILLER: Thank you.

21 Let's go on to Item Number 10, Benicia  
22 Unified School District. Staff?

23 MR. MCLEOD: Good morning, Commissioners.  
24 I'm Barry McLeod with the Energy Efficiency  
25 Division's Local Assistance in Financing Office.

1 I am here today seeking approval for  
2 Agreement 007-15-ECG, an Energy Conservation  
3 Assistance Act education subaccount zero percent  
4 loan to the Benicia Unified School District in the  
5 amount of \$3 million.

6 The Benicia Unified School District has  
7 requested this loan to help fund a photovoltaic  
8 parking canopy mounted system at the Benicia High  
9 School.

10 The Project cost is \$3,070,246. The  
11 District will be financing the balance of the  
12 project with their existing funds.

13 The 721.35 DC kW system is expected to  
14 reduce the annual purchased electricity by 1,009,210  
15 kWh, thus saving the District approximately \$200,630  
16 in the first year. When completed, the greenhouse  
17 gas emissions will be reduced by approximately 348  
18 tons per year.

19 Based on the loan amount the simple payback  
20 period is 14.95 years. Staff has determined that  
21 this loan request complies with all program  
22 requirements and I'm here to seek your approval.

23 If you have any questions I'll be happy to  
24 answer them. Thank you.

25 CHAIRMAN WEISENMILLER: And thank you.

1           Is there any comments from anyone in the  
2 room or on the line?

3           (No audible response.)

4           Then let's go to Commissioner discussion;  
5 Commissioner McAllister?

6           COMMISSIONER MCALLISTER: Yeah, it's great  
7 to see Benicia taking advantage of this. And the  
8 price of this system, they just keep getting lower,  
9 3 bucks a watt, a little more than 3 bucks a watt is  
10 quite good.

11           And again, this is a Prop 39 funds going to  
12 ECCA-Ed, so this is exactly what is supposed to be  
13 happening with Prop 39 funds, saving schools money  
14 and lowering the carbon content of our energy.

15           So I'm in strong support and I'll go ahead  
16 and move Item 10.

17           COMMISSIONER SCOTT: Second.

18           CHAIRMAN WEISENMILLER: All those in favor?

19           (Ayes.)

20           CHAIRMAN WEISENMILLER: This passes 4-0  
21 again. Thank you.

22           MR. MCLEOD: Thank you.

23           CHAIRMAN WEISENMILLER: Let's go on to  
24 Number 11, which is City of Baldwin Park. Staff?

25           MR. EHYAI: Thank you, Chairman. Good

1 morning, Commissioners. My name is Amir Ehyai with  
2 the Efficiency Division.

3 The City of Baldwin Park is requesting an  
4 ECCA loan in the amount of \$2,988,974 to fund a  
5 comprehensive set of energy efficiency measures and  
6 install solar PV panels at city-owned facilities.

7 The efficiency measures include lighting  
8 system upgrades across several facilities,  
9 replacement of aging HVAC equipment at the community  
10 center, upgrades to the building automation control  
11 system at the City Hall, installation of high-  
12 efficiency distribution transformers at three sites,  
13 and a variable frequency drive for the swimming  
14 pool, circulation pump motor at the community  
15 center.

16 The city will also use the funding to  
17 install solar PV panels with a total CEC rating of  
18 517 kW AC. The PV panels will be installed on  
19 rooftops and atop carport structures at three sites.

20 These measures are estimated to reduce AL  
21 (phonetic) energy use by approximately 1.7 million  
22 kWh of electricity and 7,800 therms of natural gas  
23 saving the city \$175,822 in utility costs.

24 I'm happy to answer any questions.

25 CHAIRMAN WEISENMILLER: Thank you.

1           Is there any comments by anyone in the room  
2 or on the phone?

3           (No audible response.)

4           Okay. Then let's transition to the  
5 Commissioners. Commissioner McAllister?

6           COMMISSIONER MCALLISTER: I always like to  
7 see the combination of energy efficiency and  
8 renewables. Sort of that shows some integrated  
9 planning on behalf of the school, on the part of the  
10 school.

11           You know, again this ECCA Project, I won't  
12 go into how wonderful the program is, because I do  
13 that every time. I think we're all clear on how  
14 great it is for the recipients and just good public  
15 policy, so very happy to support this project.

16           So I'll move Item 11.

17           COMMISSIONER SCOTT: Second.

18           CHAIRMAN WEISENMILLER: All those in favor?

19           (Ayes.)

20           CHAIRMAN WEISENMILLER: This item passes 4-  
21 0. Thank you.

22           MR. EHYAI: Thank you.

23           CHAIRMAN WEISENMILLER: Let's go on to the  
24 last ECCA item, which Oxnard Harbor District.

25           MS. FISHER: Good morning, Commissioners.

1 My name is Anne Fisher with the Local Assistance and  
2 Financing Office.

3 The Oxnard Harbor District has applied for  
4 an ECCA loan to retrofit high mast lighting at the  
5 Port of Hueneme. The Port of Hueneme is a member of  
6 the Ports Energy Collaborative, which was initiated  
7 by the Energy Commission to engage with various  
8 ports throughout California.

9 The Ports Energy Collaborative coordinates  
10 on the development and implementation of on-the-  
11 ground projects that will contribute towards  
12 achieving both the State's and Ports' energy  
13 policies. The loan-funded project will help the  
14 Port of Hueneme meet its energy efficiency goals.

15 The District plans to retrofit 205 high  
16 mast fixtures currently with 1,000 watt high  
17 pressure sodium lamps to 283 watt LED lamps. The  
18 lamps targeted in the project are located in  
19 hardscape areas and are used when cargo is being  
20 moved into or out of an operating area. Select  
21 lights are also used for security in the evening.

22 The project is estimated to save 162,060  
23 kWh of electricity and \$41,723 in energy costs  
24 annually. The total project cost is \$501,724, and  
25 will be fully funded by the Energy Commission loan

1 at 1 percent interest rate.

2 The simple payback on the loan amount is 12  
3 years. The loan is funded by the State Energy  
4 Conservation Assistance Account. Thank you.

5 CHAIRMAN WEISENMILLER: Thank you.

6 Is there any comments from anyone in the  
7 room or on the line on this item?

8 (No audible response.)

9 Okay. Then again let's transition to the  
10 Commissioners. Commissioner McAllister?

11 COMMISSIONER MCALLISTER: Yeah, absolutely.  
12 So again, a ECCA project. You know, each project's  
13 a little bit different, but the criterion show that  
14 they're really great. I appreciate staff's work to  
15 add all these projects, and make sure that what  
16 comes to the Commission is solid.

17 And just in this case, there's a lot of  
18 synergy with the various other efforts that are  
19 going on at the ports. And I know the other  
20 Commissioners have been involved with the ports,  
21 specifically particularly Commissioner Scott.

22 So I want to just point out that it's great  
23 when we see integrated planning and bringing  
24 different resources to bear on efforts globally at a  
25 particular site, because it really does make it more

45

1 cost effective. And just a better project overall,  
2 so in strong support.

3 CHAIRMAN WEISENMILLER: Janea, anything you  
4 want to say?

5 COMMISSIONER SCOTT: Yes, I also just  
6 wanted to note the synergy used between the  
7 programs. No, no, it's perfect. I think as Anne  
8 mentioned in her presentation, the Energy Commission  
9 has been working with the Ports Energy Collaborative  
10 for about a year now. We modeled after our  
11 successful work with the Department of Defense where  
12 we really just want to work closely with key  
13 partners around the state to identify energy-related  
14 projects that we can work on together that are of  
15 mutual interest.

16 And since I had that chance I wanted to let  
17 you guys know that there's five ports that we're  
18 working with right now starting down south, the Port  
19 of San Diego, Port of Long Beach, Port of L.A.,  
20 delighted to have this project today with the Port of  
21 Hueneme and the Port of Oakland. And also the Port of  
22 Stockton has recently started participating as well, so  
23 we're really excited about that.

24 We have also looked at transportation-related  
25 projects. We are looking at the lighting like this project

46

1 today. And we're looking at resiliency with micro-grids  
2 and with renewable energy generation, so I just wanted to  
3 also kind of highlight how excited I am about the  
4 partnership that we have with our ports.

5 COMMISSIONER MCALLISTER: Was that a  
6 second?

7 COMMISSIONER SCOTT: That was -- did you  
8 move it?

9 COMMISSIONER MCALLISTER: I moved it.

10 COMMISSIONER SCOTT: Yep, okay. Second.

11 CHAIRMAN WEISENMILLER: All those in favor?

12 (Ayes.)

13 CHAIRMAN WEISENMILLER: This item passes 4-  
14 0. Thank you.

15 Let's go on. We're now going to transition  
16 more to EPIC funding projects. Let's go on to  
17 Number 13, ADM Associates, Inc. Staff?

18 MR. THAMILSERAN: Good morning,  
19 Commissioners. My name is Sabaratnam Thamilseran,  
20 in short Seran. I am representing the Demand  
21 Analysis Office in the Energy Assessment Division.  
22 And I am here to request your approval of our  
23 Agreement 300-15-011 with ADM Associates, Inc.  
24 through the proposed resolution.

25 The contract is for just under \$13 million

47

1 to conduct a survey of the energy-using  
2 characteristics of buildings in the commercial  
3 sector. These buildings include offices, hospitals,  
4 schools, grocery stores, to name a few.

5 California Code of Regulations Title 20  
6 (indiscernible) to complete a survey of this sector.  
7 Furthermore, a recommendation in the 2015 Integrated  
8 Energy Policy Report calls for further  
9 disaggregation of the Demand Forecast to be more  
10 useful to resource planners.

11 This Commercial End-Use Survey, known as  
12 CEUS, will focus on collecting and developing  
13 various commercial building end-use consumption  
14 characteristics to address forecasting needs at  
15 disaggregation levels.

16 Consequently, goals set for the survey  
17 include: help target technological advancement and  
18 breakthroughs that help lead California to meet its  
19 energy goals and system reliability needs;  
20 significantly increase the sample size for onsite  
21 surveys to support disaggregation of energy demand  
22 forecasts. This is achieved by collecting,  
23 developing and calculating the following  
24 characteristics within each building type and  
25 forecasting zones in California.

1           Percentage of fuel -- electricity versus  
2 natural gas used within specific end uses; these  
3 percentages are considered as fuel saturations.  
4 Commercial floor space estimates, annual whole-  
5 building energy use estimates, profiles of how  
6 energy is used in the building on an hourly basis,  
7 estimates of the most recent building population  
8 possibly by oversampling more recent building stock.

9           Of this total contract budget just under \$8  
10 million is funded by Electric Program Investment  
11 Program Charge funds to survey commercial building  
12 electricity use in Investor Owned Utility  
13 territories.

14           It is anticipated that the Energy Resource  
15 Program Account will fund commercial building  
16 surveys in the natural gas utility and large Public  
17 Owned Utility service territories.

18           I am here to seek approval of our contract  
19 with ADM Associates and to answer any questions that  
20 you may have.

21           CHAIRMAN WEISENMILLER: Thank you.

22           First, is there any comment from anyone in  
23 the room or online on this item?

24           (No audible response.)

25           Okay. So again let's transition over to

1 the Commissioner discussion.

2           First, I was going to say this is really a  
3 key contract. Back when I first came in the '70s we  
4 basically had a process where the utilities were  
5 doing census for us in building and residential  
6 space. And if you think about our commercial  
7 building model it goes through and says well how  
8 many warehouses are there, how many hospitals? The  
9 energy use is quite different between the two. And  
10 the location, San Francisco versus say Sacramento  
11 again makes a big difference.

12           And whether it was the 1975 or a 2015  
13 building again makes a huge difference. And so it's  
14 been a number of years since we've updated this  
15 census of building types, characteristics, you know  
16 are they using what type of lighting -- anyways.

17           So it's just sort of scary that we're  
18 cranking out the forecast saying, "Well, okay. How  
19 much of the underlying data are real?" And so this  
20 is an effort that I know Commissioner McAllister and  
21 I have both been sort of sweating to get out the  
22 door. You know, get the data back in and feed that  
23 into the modeling and it's really going to help,  
24 particularly, as we go to more and more  
25 disaggregated.

1           And ultimately I guess the punch line is at  
2 some point we have to do a similar exercise on  
3 residential. And if you think through the various  
4 variations, in some respects it's not necessarily as  
5 scary as hospitals or warehouses or whatever. But  
6 still the fleet of buildings in residential has a  
7 lot of characteristics that we really need to go  
8 back and go to this touchstone to make sure that  
9 underlying data for our forecast is solid.

10           COMMISSIONER MCALLISTER: I completely 100  
11 percent agree with that. And also just more broadly  
12 even than just the forecast, I mean SB 350 says we  
13 have to double energy efficiency in our existing  
14 buildings. We really need to know what our existing  
15 building stock looks like. And as the Chair said,  
16 the data that we have from the previous CEUS is now  
17 quite dated. And so we need to know what our  
18 baseline is.

19           And really, I think I'm very optimistic.  
20 This is a foundational piece of work that justifies  
21 this kind of investment, absolutely. But also we're  
22 in a very different situation technologically than  
23 we were when the last CEUS was done. So we have  
24 smart meters, I mean smart meters have all been  
25 installed since then, and a whole bevy of other

1 technologies that we can bring to bear to compliment  
2 and augment the kind of data that we'll receive here  
3 from this effort.

4           And so I'm very optimistic that we're going  
5 to be able to kind of quarterback all of these  
6 things with the end goals in mind. This is a big  
7 important piece of it, but there are a number of  
8 other pieces. And we'll have data coming in from  
9 the schools. We'll have data coming in from  
10 benchmarking from commercial buildings. We'll have  
11 data that's much more broadly generated than even  
12 this large effort.

13           So I'm very optimistic that we'll be able  
14 not only to make better policy decisions and  
15 understand the marketplace that we're dealing with  
16 through policy, but also make sure that the  
17 marketplace can utilize this data and other as  
18 appropriate. So that they can make better decisions  
19 out there in the world: building owners, cities, and  
20 anybody else working on buildings.

21           So this is a really great effort that I'm  
22 obviously in very strong support of, so I'll move  
23 Item 13.

24           COMMISSIONER DOUGLAS: Second.

25           CHAIRMAN WEISENMILLER: All those in favor?

1 (Ayes.)

2 CHAIRMAN WEISENMILLER: So this passes 4-0.

3 COMMISSIONER MCALLISTER: Actually, can I  
4 make one other comment?

5 So the one other comment I guess I'm  
6 hopeful that the POU's will also be able to avail  
7 themselves of this effort at some point. I mean, we  
8 do need to get -- I think this funding comes from  
9 the IOUs for the most part, I think entirely. And  
10 so it's important to cover the whole state. And  
11 that gets us three-quarters of the way there, but we  
12 really need to -- hopefully we can leverage this  
13 effort to get statewide coverage, because that would  
14 be very important from a policy perspective, and  
15 also just from a completeness perspective.

16 CHAIRMAN WEISENMILLER: Yeah, so we should  
17 tee that up pretty quickly, because it's going to be  
18 better if it's the same survey instruments.  
19 Everything is sort of consistent as opposed to we do  
20 this, SMUD does something totally different, LADWP  
21 does something even more different.

22 COMMISSIONER MCALLISTER: So yeah, I think  
23 we kind of need to help stimulate those  
24 conversations with the POU's, because there need to  
25 be contributions to get that to happen. So anyway,

53

1 we probably should tee that up sooner rather than  
2 later as you said.

3 CHAIRMAN WEISENMILLER: Exactly, yeah. I  
4 was going to say before Tim leaves today, grab him.

5 COMMISSIONER MCALLISTER: And that's all  
6 I'm -- there he is.

7 CHAIRMAN WEISENMILLER: Yeah, there he is.  
8 Okay.

9 COMMISSIONER MCALLISTER: Anybody from DWP,  
10 we'll just get it done, huh?

11 CHAIRMAN WEISENMILLER: Yeah, in the  
12 abundance of caution let's do a redo Item 12, which  
13 you were moving clearly. It was a little bit  
14 ambiguous I guess on whether or not it was properly  
15 moved, so just if you could -- 12, yeah.

16 COMMISSIONER MCALLISTER: Oh, okay. So  
17 I'll move Item 12.

18 COMMISSIONER SCOTT: And I'll second Item  
19 12.

20 CHAIRMAN WEISENMILLER: All those in favor?  
21 (Ayes.)

22 CHAIRMAN WEISENMILLER: So Item 12, I think  
23 we were clean, but now we're certainly clean.

24 COMMISSIONER MCALLISTER: Yeah, okay.  
25 Great.

1 CHAIRMAN WEISENMILLER: Okay. Now we're  
2 coming up to 14 and Commissioner McAllister, do you  
3 want to do your disclosures at this stage?

4 COMMISSIONER MCALLISTER: Yeah, why don't I  
5 just take advantage to do them all at once? It's  
6 the next few items, between 14 and 20, there are a  
7 few so I'll just read them out.

8 So I'm disclosing that my wife is a  
9 professor at UC Davis King Hall School of Law there.  
10 King Hall is not involved in any of these that I  
11 will list, so I'm just disclosing my affiliation  
12 through my wife with UC Davis.

13 Item 14, Item 15a.ii, Item 15b, Item 16c,  
14 Item 16e, Item 16g, and Item 20a. And UC Davis is  
15 involved in one or another capacity as a prime or a  
16 sub on all of those that I just listed.

17 CHAIRMAN WEISENMILLER: Okay. So, let's go  
18 on to Item 14. Staff, please?

19 MS. O'HAGAN: Good morning Chair  
20 Weisenmiller and Commissioners. My name is Molly  
21 O'Hagan, I'm with the Energy Deployment Market  
22 Facilitation Office. I'm seeking Commission  
23 approval today for a \$648,716 contract with  
24 Energetics, Incorporated.

25 Energetics, Incorporated will work with

1 Energy Commission staff, and in consultation with  
2 stakeholders and subject matter experts, to develop  
3 a technical assessment of the key needs and gaps  
4 within the industrial, agricultural and water or IAW  
5 sector, within bioenergy research, deployment,  
6 demonstration and development.

7           This contract was the result of a  
8 competitive solicitation that received four  
9 applications. Today we're recommending funding for  
10 the top-ranked proposal team.

11           The contract's intent is to identify and  
12 analyze the challenges and gaps in research needed  
13 to achieve the critical needs and expectations  
14 California's utilities, ratepayers, and customers in  
15 the IAW in the bioenergy sectors.

16           The team will solicit stakeholder input  
17 throughout the formation of this gaps analysis,  
18 which will be performed over the course of two years  
19 and will draw upon the team's expertise in  
20 bioenergy, biomass, agricultural engineering,  
21 building energy efficiency and micro-grids.

22           Energetic, Incorporated will level the  
23 proposal team's expertise while using the existing  
24 body of IAW and bioenergy work through literature  
25 reviews, interviews, and other forms of stakeholder

1 input including workshops.

2           This contract's goals and objectives are to  
3 synthesize the input of stakeholders and experts to  
4 analyze performance and update perspectives on the  
5 emerging technologies, path to market strategies,  
6 innovative financing mechanisms, customer  
7 requirements for electricity and water, and other  
8 factors relevant to the development and adoption of  
9 efficient technologies in the IAW and bioenergy  
10 sectors.

11           Energetics, Incorporated subcontractors  
12 include the University of California Davis Center  
13 for Water Energy Efficiency, and the University of  
14 California, California Institute for Food and  
15 Agriculture Research.

16           Staff respectfully requests approval of  
17 this resolution and I'm happy to answer any  
18 questions. Thank you.

19           CHAIRMAN WEISENMILLER: Okay. Thank you.

20           Obviously all these EPIC items went through  
21 the Committee as the lead on the research side, so  
22 these have all been -- there's a lot of them -- but  
23 all pretty thoroughly vetted. They certainly fit  
24 into the overall Investment Plan and also have gone  
25 through a pretty stringent competitive process.

1           So anyway, I think this one -- again these  
2 are areas where we need to have pretty focused  
3 research, so again that gaps analysis, I think, will  
4 help us make sure that the programs are on track.

5           COMMISSIONER MCALLISTER: I would just  
6 point out that these sectors that we're talking  
7 about: ag, industrial, water, are places where  
8 typically there haven't been -- you know, industrial  
9 we haven't really had an all-hands-on deck kind of  
10 approach. Water we're getting into more and more  
11 with the extension of the drought. And ag,  
12 obviously a big effort that everybody's talking  
13 about that we need to get our heads around better.  
14 So this is definitely, as you say, gap filling.

15           So I'll move Item 14.

16           COMMISSIONER DOUGLAS: Second.

17           CHAIRMAN WEISENMILLER: All those in favor?

18           (Ayes.)

19           CHAIRMAN WEISENMILLER: This passes 4-0.

20 Thank you.

21           Let's go on to Item 15, Reducing Costs for  
22 Communities and Businesses Through Integrated  
23 Demand-Side Management and Zero Net Energy  
24 Demonstrations. Staff?

25           MR. DAVIS: Good morning, Commissioners.

1 I'm Dustin Davis with the Energy Efficiency Research  
2 Office.

3 So the next three research projects  
4 resulted from a competitive solicitation titled  
5 "Reducing Costs for Communities and Businesses  
6 Through Integrated Demand-Side Management and Zero  
7 Net Energy Demonstrations."

8 This solicitation sought proposals to fund  
9 integrated technologies, strategies, and  
10 demonstrations that emphasize innovative energy  
11 efficiency packages to achieve whole building  
12 performance improvements that help overcome  
13 technical and economic market barriers that prevent  
14 achievement of state policy goals.

15 The first item I'm requesting approval for  
16 includes the CEQA findings for the proposed project  
17 with the California Home Building Foundation for  
18 nearly \$4.82 million.

19 Based on lead agency City of Chino's Final  
20 Environmental Impact Report, and supporting  
21 documentation, the work under the proposed project  
22 presents no new significant or substantially more  
23 severe environmental impacts beyond those already  
24 considered.

25 This project will demonstrate large-scale

1 community deployment of new Zero Net Energy single-  
2 family homes in Chino, California -- up to 50 homes.  
3 The homes will be constructed with various emerging  
4 energy saving features addressing HVAC, water  
5 heating, lighting, and plug loads with the goal of  
6 developing the most cost-effective approach. The  
7 energy measures proposed are anticipated to exceed  
8 2016 Title 24 Energy Efficiency Standards by 40  
9 percent.

10           It'll serve as a proof of concept and  
11 provide important analysis on energy efficiency,  
12 appliances, indoor air quality, interactions between  
13 occupants and technologies, and behavior and control  
14 strategies to the home building industry. The  
15 project will also provide a better understanding of  
16 consumer and home builder costs related to various  
17 packages of efficiency features. And ultimately  
18 provide a roadmap for constructing Zero Net Energy  
19 homes.

20           The project includes match funding of about  
21 \$2.6 million and has several partners including KB  
22 Homes, ConSol, and has the support of Southern  
23 California Edison.

24           The second project I'm requesting approval  
25 for is with the Electric Power Research Institute

1 for almost \$3.9 million. This project will develop  
2 and demonstrate an innovative approach to scale  
3 multifamily energy efficiency retrofits for  
4 disadvantaged communities.

5 Disadvantaged low-income multifamily  
6 communities are one of the most important retrofit  
7 targets that on a need basis yet are underserved  
8 when it comes to providing them cost-effective  
9 pathways to Zero Net Energy. This project will look  
10 to provide a cost-effective pathway for the sector  
11 to help ensure all ratepayers are able to achieve  
12 California's energy goals.

13 The project will use a combination of  
14 customer education and recruitment to create  
15 voluntary pools of engaged customers for energy  
16 efficiency retrofits. The project work includes  
17 developing and installing packages of emerging  
18 energy efficiency measures addressing building  
19 envelope, HVAC, water heating, lighting and plug  
20 loads. These retrofit packages are anticipated to  
21 reduce energy use by 30 to 40 percent.

22 The project will validate the performance  
23 of these systems at two demo sites in Fresno and in  
24 Ontario, California, which includes unique  
25 integration issues at each site utilizing varied

1 packages of technologies and approaches.

2           The project includes about \$800,000 in  
3 match funds. Project partners are BIRAenergy, UC  
4 Davis, ITron, LINC Housing, and Southern California  
5 Edison.

6           The third project I'm requesting approval  
7 for is with Prospect Silicon Valley for almost \$3  
8 million. This project will demonstrate a Zero Net  
9 Energy retrofit in a low-income multiunit mixed-use  
10 building located in San Francisco using energy  
11 efficiency upgrade packages that can be replicable  
12 under the challenging conditions typical of small,  
13 medium and commercial and residential building  
14 sectors, which includes lack of capital, and split  
15 incentives.

16           The project will identify cost-effective  
17 window, lighting, HVAC and plug load management  
18 systems that can be rapidly deployed, provide high-  
19 performance at accessible costs, and require minimal  
20 adjustment for occupants or facility managers. The  
21 energy measures proposed are anticipated to reduce  
22 energy use by 50 percent.

23           Identifying the most cost-effective and  
24 validating their performance, of these integrated  
25 approaches, will allow California to build more

1 efficient, healthier buildings and significantly  
2 improve our existing building stock cutting energy  
3 costs, energy bills for consumers and businesses.

4           The project includes \$800,000 in match  
5 funds and project partners are National Renewable  
6 Energy Laboratory, Chinatown Community Development  
7 Center and has the support of Pacific Gas &  
8 Electric.

9           With that I'll conclude and gladly answer  
10 any questions. Thanks for your consideration.

11           CHAIRMAN WEISENMILLER: Thank you.

12           Are there any comments from anyone in the  
13 room or on the line?

14           (No audible response.)

15           Okay. And again, let's just sort of  
16 transition to the Commissioners.

17           Obviously, the Governor's had a goal of  
18 Zero Net Energy. We're sort of marching towards  
19 that goal. One of the things that certainly EPIC or  
20 an earlier PIER have always done is provide a basis  
21 through research, to allow us to develop strong and  
22 affective Building and Appliance Standards. And so  
23 this is starting to lay the groundwork for that  
24 action on Zero Net Energy.

25           It also has some great features in terms of

1 trying to -- because again we're trying to make sure  
2 the research will benefit all Californians. And so  
3 to have an element that really focuses on  
4 disadvantaged communities, so again they can be part  
5 of the transition to this new technology.

6 Obviously as you go from residential to  
7 multifamily the issues become more complicated just  
8 in terms of building size, roof, etcetera. So  
9 anyway and particularly retrofit is a really, really  
10 tough area that is going to be very important to do  
11 research in this area.

12 So again this is a very good project. I  
13 think it is going to provide some information that's  
14 going to be very valuable to the Commission in the  
15 long term.

16 Commissioner McAllister?

17 COMMISSIONER MCALLISTER: Yeah. Great, I  
18 just can't be too effusive about this project. I  
19 want to congratulate really the EPIC staff. Let's  
20 see, the behavioral stuff, I'm a big fan, so I see  
21 David Hungerford there. And I feel just this  
22 package of three really represents sort of the best  
23 of what we're doing here at the Commission.

24 You know we have, as the Chair said, goals  
25 for new construction that are really upon us in the

1 single-family space. And part of an intentional  
2 policy regime like the one we have in California  
3 that's relatively well funded. I mean I work with a  
4 lot of other states. And they're just incredibly --  
5 they're astonished at what we have, our pipeline,  
6 and what we do and the level of resources that we  
7 dedicate to these necessary things. And I wish they  
8 had that. They learn a lot from us too.

9           But the R&D on the front end of sort of  
10 developing what's possible, developing a vision of  
11 what's possible is just critical for them going out  
12 in the marketplace and making it happen. And we  
13 have a great set of partners across the board on  
14 these three projects. They're really wonderful from  
15 National Labs to our POU utilities. And lots of  
16 really great technical partners that can really make  
17 things happen, so I'm very happy about that.

18           New and existing both: the doubling of  
19 efficiency, the retrofit environment, obviously very  
20 challenging, but it's doable. We have all these  
21 technologies. And like these projects show, the  
22 second one in particular, the integrating different  
23 measures into a package and getting that done  
24 efficiently and effectively and financially viably,  
25 is really that's the path that we have to develop to

1 make it happen.

2           So really, just I want to commend the  
3 applicants themselves and also the staff for really  
4 shepherding this thing and getting a really nice set  
5 of projects and a package for us to consider today.  
6 The small commercial, the disadvantaged communities,  
7 the single-family residential, the multifamily and  
8 the small commercial, those are all areas of our  
9 economy that we just -- of our build environment  
10 that we have to focus on. And this is a great step  
11 in that direction. So thanks everybody for that.

12           And so I'll move Item 15.

13           COMMISSIONER SCOTT: Second.

14           CHAIRMAN WEISENMILLER: Okay, all those in  
15 favor?

16           (Ayes.)

17           CHAIRMAN WEISENMILLER: So Item 15 passes  
18 4-0. Great, thank you.

19           MR. DAVIS: Thank you.

20           CHAIRMAN WEISENMILLER: Let's go on Item  
21 16, Reduce the Environmental and Public Health  
22 Impacts of Electricity Generation and Make the  
23 Electricity System Less Vulnerable to Climate  
24 Impacts, Phase II. Please.

25           MS. ZIAJA: Thank you, Chair and good

1 morning, Commissioners. My name is Sonya Zaija,  
2 from the Research and Development Division.

3 I'll be presenting 11 proposed grant  
4 agreements from an EPIC solicitation released last  
5 October. The solicitation addressed several areas  
6 covering indoor air quality, public health,  
7 terrestrial and aquatic habitats, climate impacts  
8 and the water-energy nexus. All this relates to  
9 California's electricity system.

10 The proposed studies I will be presenting  
11 today amount to approximately \$3 million with a  
12 geographic scope covering the entire state. Staff  
13 recommends funding all 11 projects. And I will  
14 discuss each of these briefly.

15 The first of these is a study to protect  
16 burrowing owls. There's significant uncertainty  
17 around the effectiveness of ways to mitigate impacts  
18 from renewable energy projects on the species.

19 Using satellite tracking equipment, the  
20 Zoological Society of San Diego aims to give  
21 permitting agencies a scientific basis for  
22 prescribing mitigation actions, and could help  
23 reduce obstacles to permitting renewable energy  
24 generation in California.

25 The project brings over \$600,000 in matched

67

1 funding from the grantee and wildlife agency  
2 collaborators.

3           The second study is a feasibility  
4 assessment of combined groundwater storage and  
5 pumped hydropower. Antelope Valley Water Storage,  
6 LLC, operating at an existing groundwater bank in  
7 Southern California, would determine the value of  
8 energy storage and optimize associated Grid support  
9 benefits from peak-hour pumped storage and aquifer-  
10 pumped hydro applications.

11           The study will also identify other water  
12 banking sites in the State, where application of  
13 these technologies are likely to be successful.

14           Next is a foundational study to support  
15 effective mitigation strategies for habitat  
16 management at solar power sites. Photovoltaic  
17 panels and heliostats affect the temperature and  
18 moisture beneath them, which is likely to affect the  
19 growth and survival of plants and insects at solar  
20 energy facilities.

21           The University of California Davis, working  
22 with UC Santa Cruz, will examine these effects on  
23 rare plants, invasive species, and species  
24 interactions involving monarch butterflies.

25           To improve indoor air quality, the

1 University of California at Irvine will evaluate the  
2 utility of advanced low-cost solid state sensors for  
3 monitoring real time NOx exhaust emissions. The  
4 sensor connects to the engine control system that  
5 adjusts the engine's operation to optimize reduction  
6 in emissions.

7           This work will reduce engine emissions from  
8 small distributed generation systems that operate  
9 micro turbines or reciprocating engines. Future  
10 applications include emissions reductions from cars  
11 and trucks, electricity production, agriculture and  
12 other sources that utilize internal combustion  
13 engines.

14           A study to facilitate renewable  
15 development, taking climate change effects into  
16 account, will combine fuel data with high resolution  
17 global climate model simulations over the next 10-  
18 to-20 years to help identify, which regions in  
19 California exhibit vulnerability or new opportunity  
20 for wind energy development.

21           The results from this study by Laurence  
22 Berkley National Laboratory can reduce investment  
23 risk and improve system reliability for both new  
24 wind development and repowering decisions.

25           Another climate-related study, by

1 Altostratus, Inc., will focus on California summer  
2 conditions in urban areas where intra-urban climate  
3 variability is significant. These include the San  
4 Francisco Bay Area, Los Angeles Basin, San Diego  
5 Region and Fresno Bakersfield. The study would  
6 develop fine resolution characterization of intra-  
7 urban climate variability and transfer functions to  
8 enhance the probabilistic and short-term climate  
9 forecast for the electricity system.

10 A study with the University of California  
11 Davis campus will utilize computational chemistry to  
12 optimize a naturally occurring organic molecule that  
13 could capture carbon dioxide from power plant stacks  
14 and other large emitters. This research initiative  
15 is unique, because for the first time it will be  
16 using computational chemistry as an exploratory tool  
17 for designing and characterizing chemical carbon  
18 capturing compounds rather than as an experimental  
19 approach.

20 The University of California Berkeley will  
21 provide a systematic approach to assess and optimize  
22 climate change adaptation strategies for  
23 California's electricity system. The study will use  
24 robust special science methodologies to provide  
25 critical data on how adaptation is operationalized.

1           It will also quantify risk minimization  
2 practices and evaluate resilience of energy in  
3 electricity sector against extreme events.

4           Another study on overcoming barriers to  
5 adaptation will take a regional approach in  
6 California.    The Thalossa Research and Consulting,  
7 LLC will develop and implement the framework for  
8 assessing the long-distance climate change impacts  
9 and cross-sector linkages that can disrupt  
10 electricity services and cause cascading affect on  
11 critical infrastructure in the Los Angeles region.  
12 The results will be integrated into local climate  
13 vulnerability assessments and adaptation planning.

14           Ghoulem Research proposes to help  
15 California attain its energy goals by analyzing  
16 histories of selected energy technology changes with  
17 respect to their implications for future transitions  
18 towards a low-carbon electricity sector.

19           Insights from the historical analysis will  
20 be used to develop a flexible household-level air  
21 conditioning demand simulation model that aluminates  
22 behavioral factors in the context of electricity  
23 sector transitions.

24           And finally, University of California at  
25 Merced has proposed research to build, design and

1 optimize a non-thermal plasma reactor that will  
2 convert biogas to synthesis gas, a mixture of carbon  
3 monoxide and hydrogen. The power-to-gas research  
4 offers reduction in greenhouse gas emissions and is  
5 a method of energy storage in the form of hydrogen  
6 gas.

7 I'm happy to answer any questions you might  
8 have. Thank you.

9 CHAIRMAN WEISENMILLER: Thank you.

10 First, is there anyone in the room or on  
11 the line who has comments on any of these contracts?

12 (No audible response.)

13 All right, let's transition over to the  
14 Commissioners.

15 Again, I've sort of gone through these  
16 generally. I think all of us understand how  
17 important adaptation is in sort of trying to  
18 understand -- I mean I think the truism, certainly  
19 Andrew and I both remember from Holdren, is all  
20 energy production results in environmental  
21 consequences. And the question is how do you  
22 mitigate that? Particularly given climate change  
23 issues now and that gets you into adaptation, so  
24 this is a pretty broad spectrum, covers a lot of  
25 ground.

1           And I think this will also be useful for us  
2 as we develop scenarios and do planning. And  
3 hopefully, will tie back to the adaptation studies  
4 we're doing. So again, I think these are pretty  
5 good projects.

6           COMMISSIONER DOUGLAS: And I'm also very  
7 excited about this work and really pleased to see  
8 the leadership and initiative in climate adaptation  
9 in particular.

10           So I'll move approval of this item.

11           COMMISSIONER MCALLISTER: I'll second.

12           CHAIRMAN WEISENMILLER: Everyone in favor?

13           (Ayes.)

14           CHAIRMAN WEISENMILLER: This passes 4-0.

15 Thank you.

16           COMMISSIONER MCALLISTER: I need recuse on  
17 the basis (indiscernible)

18           CHAIRMAN WEISENMILLER: So we are now going  
19 to Item 17, Advancing Solutions that Allow Customers  
20 to Manage their Energy Demand with Dave Hungerford.  
21 And I think what we're going to do is let's --

22           COMMISSIONER MCALLISTER: (Indiscernible)

23           CHAIRMAN WEISENMILLER: Okay, fine. So  
24 let's deal with d and g first.

25           MS. VACCARO: I think Chair Weisenmiller --

1 CHAIRMAN WEISENMILLER: Why don't we do  
2 everything but d and g?

3 COMMISSIONER MCALLISTER: But d and g?

4 CHAIRMAN WEISENMILLER: Yeah. And then you  
5 stepped out, okay?

6 COMMISSIONER MCALLISTER: Okay, great.  
7 That's good.

8 MS. VACCARO: So I think first, just for  
9 the record, we need the disclosure. We don't have  
10 any disclosure on this item at all and we're going  
11 to have a recusal as well, with respect to this.

12 COMMISSIONER MCALLISTER: Yeah, so on Item  
13 17 I am going to recuse myself from 17d and g. The  
14 Center for Sustainable Energy is a sub on d and a  
15 prime on g. And they are my former employer from  
16 when I was appointed to the Commission, so I'm going  
17 to recues from those two items.

18 CHAIRMAN WEISENMILLER: So staff cover  
19 everything, but those two items. We'll vote on  
20 those and then we'll cover those two items.

21 MR. HUNGERFORD: Okay.

22 Good morning Commissioners. My name is  
23 David Hungerford of the Energy Efficiency Research  
24 Office in the Energy Research and Development  
25 Division.

1 I'm here to request your approval for  
2 funding 10 projects selected under Grant Funding  
3 Opportunity 15-311, "Advancing Solutions That Allow  
4 Customers To Manage Their Energy Demand." The total  
5 amount requested is \$30,144,179.

6 The purpose of the solicitation is to  
7 conduct research that can help overcome barriers to  
8 expanding the opportunities for customers to manage  
9 their loads and distributed energy resources,  
10 including distributed generation and energy storage,  
11 in ways that align cost incentives with system  
12 operational needs, facilitate integration of high  
13 renewable generation resource penetration and  
14 minimize greenhouse gas emissions.

15 Grant awards are proposed in four areas:  
16 supply-side resources, demand-side resources,  
17 development of a communications signal structure  
18 that reflects system conditions, and evaluation of  
19 the value proposition for nonresidential building  
20 lighting retrofit controls.

21 The first project for your consideration is  
22 with Universal Devices, Incorporated for about \$3.2  
23 million to develop and pilot test a system for  
24 allowing large numbers of small loads to participate  
25 in existing California ISO markets for supply

1 resources and ancillary services.

2           The second project is with the Electric  
3 Power Research Institute, for just under \$4 million  
4 to develop demand response strategies in new homes  
5 equipped with solar PV and onsite storage, as well  
6 as communicating thermostats and other individually  
7 controllable devices. And with that project, we  
8 have just under \$1.3 million in match.

9           The next grant is with BMW of North  
10 America, LLC for just under \$4 million to utilize  
11 real-time vehicle information, predictive travel  
12 behavior, Grid location data, and energy market  
13 price data to manage a vehicle's charging, which  
14 would allow them to provideGgrid services while  
15 meeting the customer's range and cost requirements.  
16 BMW will be recruiting between 250 and 500 BMW  
17 electric vehicle owners to participate.

18           We'll skip d.

19           We also ask your approval of a grant to the  
20 University of California Berkeley, on behalf of the  
21 California Institute for Energy and the Environment,  
22 for a \$4 million grant to improve small and large  
23 commercial customer participation and demand  
24 response.

25           This project would develop an energy

1 management system that communicates with, and  
2 manages, hardware and service offerings from a wide  
3 range of different manufacturers and providers,  
4 overcoming the proprietary communications system  
5 problem that currently exists in demand response.

6 Item f, with your approval the next grant  
7 with the University of California Los Angeles for  
8 just over \$2 million, will assess and demonstrate  
9 alternative demand response strategies to measure  
10 and compare how different incentives, timing and  
11 messaging approaches affect participation rates and  
12 response levels among different subgroups of  
13 residential customers.

14 Item h, we also ask your approval for a  
15 grant with Ohmconnect, Incorporated for \$4 million  
16 to develop and conduct experiments evaluating  
17 methods of encouraging consumer participation in  
18 demand response programs.

19 The project will develop, test and refine  
20 information, communication and automation techniques  
21 that maximize customer engagement in demand response  
22 events. And low-cost telemetry solutions that will  
23 facilitate participation in California independent  
24 system operator markets.

25 The next project is with the Electric Power

1 Research Institute for just under \$500,000 to  
2 design, develop, test and implement a system to  
3 create and communicate transactive signals that can  
4 be used to facilitate demand response provided by  
5 California utility customers and other recipients.

6           The other applicants funded under this  
7 solicitation will use this signal as one of the  
8 demand response scenarios they evaluate the  
9 developing optimization strategies. And they will  
10 spend the first year of their project helping EPRI  
11 develop this signal to meet all of their needs and  
12 communications requirements.

13           The final project for which we are  
14 requesting approval today is with Laurence Berkeley  
15 National Laboratory, for \$500,000 to identify,  
16 quantify, and evaluate the incremental costs and  
17 benefits of implementing demand response lighting  
18 control systems in existing nonresidential  
19 buildings.

20           We respectfully request your approval of  
21 the projects. And I will be happy to answer any  
22 questions you may have.

23           CHAIRMAN WEISENMILLER: Thank you, thank  
24 you. So first, is there anyone with comments on  
25 these contracts, either in the room or on the line?

78

1 (No audible response.)

2 Okay. So let's transition over to the  
3 Commissioners.

4 You know, again I think as we're now  
5 dealing with variable or intermittent supply  
6 sources, wind and solar, obviously one of the things  
7 that would help is if we had some degree of demand  
8 responsiveness on the demand side.

9 And having said that, you know one of the  
10 things that was pretty clear a couple of years ago  
11 when we had a combined ISO/PUC event was that when  
12 say PJM came in, and you went, "Oh my God, they have  
13 lots of demand response that's really tied into the  
14 market and we have like nothing going," you know  
15 it's sort of whatever. And so we've been trying to  
16 really move forward in that area.

17 I remember again, the Commissioners of the  
18 PUC were shocked when there was a settlement trying  
19 move forward. And it would take longer than World  
20 War II to get any substantial progress there. So  
21 again, trying to convert megawards (phonetic) to  
22 megawatts, in this area is sort of a challenge. So  
23 again I think that what we're trying to do here is  
24 develop more of a framework, try different things,  
25 and again move forward.

1           Certainly I think those of you who were on  
2 the dais with me at Aliso Canyon, when LADWP  
3 announced they were going to really ramp maybe at  
4 another 30 megawatts of demand response for this  
5 summer -- and we're talking about we need thousands  
6 of megawatts for this summer, so 30 was not awe  
7 inspiring. And then Edison wasn't quite prepared to  
8 match that challenge. So anyway, it's definitely  
9 time to move forward in this space.

10           COMMISSIONER MCALLISTER: Yeah, so I  
11 totally agree. There's so much potential. We love  
12 the loading order. Demand response is right there  
13 at the top of loading order. And yeah, things are  
14 getting a little more complicated with all the  
15 diversity technologies that we have on the supply  
16 side and the demand side. And they all have to work  
17 together now in a way that I really think we didn't  
18 appreciate decades ago.

19           But the last two full IEPRs, in 2013 and  
20 2015, particularly 2013, actually I've really  
21 focused on demand response. And I think the 2013  
22 IEPR I think produced some good direction and sort  
23 of lit a fire under the various stakeholders on  
24 demand response, to kind of get this conversation  
25 going.

1           The ISO and the PUC have been doing a lot  
2 on this front, trying to get all the details worked  
3 out in their respective contexts. And there's been  
4 a lot of progress.

5           There is so much potential for demand  
6 response to integrate with traditional supply and  
7 new renewable supply. And we just have to be able  
8 to harvest it. So we're making progress, I would  
9 say, on slowly but surely on the market front both  
10 at the retail level and at the wholesale level.

11           But we have to have low cost -- there's a  
12 lot of talk here about transactive processes and  
13 tariffs and that's great. There is some incredible  
14 innovation happening in the marketplace and we want  
15 to support that. And again, this goes back to what  
16 I said on a previous side. It's great to see a nice  
17 package that looks at the various sides of this and  
18 puts some resources on it this so we can figure it  
19 out for the California context and make it happen.

20           And this R&D is just so, so important for  
21 making that happen. And I'm a big believer in  
22 demand response and sort of allowing consumers to  
23 make the choices, customers to make the choices that  
24 they want, but it's got to be performance-based.  
25 It's got to have real results. It can't just be

1 "Okay, we're going to pay just in case." We're  
2 going to actually get some results here, some  
3 capacity and some energy savings.

4 And so this suite, barring the two that  
5 we're not talking about now, is really a nice  
6 package. So I'm in very strong support.

7 So and thanks to the Chair for your  
8 leadership on all this, because it's truly  
9 important.

10 COMMISSIONER SCOTT: I'd just like to add  
11 that, that I also really appreciate the cross-  
12 cutting nature of these projects. And I'm  
13 especially excited to see the BMW of North America,  
14 because as we get additional plug-in electric  
15 vehicles on California's roads, we will certainly  
16 want to know how they fit into the demand-response  
17 as well. And so to have that, be thinking about  
18 that, now have that as a component I think is really  
19 exciting.

20 When David was briefing me on this I really  
21 just was like, "I want to know what the results are  
22 right now." So they're good projects.

23 I will move item -- Do you want me to list  
24 them all out, the ones that we did?

25 COMMISSIONER MCALLISTER: Yeah, probably

1 so.

2 COMMISSIONER SCOTT: Items 17a, b, c, e, f,  
3 h, i, j, for approval.

4 COMMISSIONER MCALLISTER: I'll second.

5 CHAIRMAN WEISENMILLER: All those in favor?

6 (Ayes.)

7 CHAIRMAN WEISENMILLER: So this item passes  
8 4-0. Thank you.

9 Now, hold on a second and we will  
10 transition over to d and g.

11 (Commissioner McAllister recused himself.)

12 CHAIRMAN WEISENMILLER: Okay. Go ahead

13 MR. HUNGERFORD: All right, Item d. This  
14 grant is with Alternative Energy Systems Consulting,  
15 Incorporated for just under \$4 million to install  
16 and test an innovative software solution in 100  
17 residences located in San Diego Gas & Electric  
18 service area.

19 This software will communicate with a  
20 variety of building systems such as energy storage,  
21 pool pumps, thermostats, EV chargers and solar PV  
22 systems to optimize performance while meeting  
23 customer needs.

24 The intent of the project is to model and  
25 measure the potential costs and benefits to both the

1 customer and the Grid, the managing loads, and  
2 behind the meter generation resources.

3 Item g is with the Center for Sustainable  
4 Energy for just under \$4 million to develop co-  
5 optimization strategies for customers with  
6 distributed energy resources, to consider customers  
7 while system needs under existing and future retail  
8 and wholesale tariff structures, and under  
9 transitive energy pricing signals as well.

10 And there's just under \$2 million in match  
11 on that, on Item g as well.

12 CHAIRMAN WEISENMILLER: Okay. Thank you.

13 Does anyone in the room or on the line have  
14 comments on these two items?

15 (No audible response.)

16 Okay, so again transition over to the  
17 Commissioners. I would note that in terms of  
18 progresses, as Commissioner McAllister indicated is  
19 a real focus of this major IEPR. We came out of  
20 that with sort of a joint work plan with the PUC and  
21 Cal ISO and us.

22 And one of the things obviously is the PUC  
23 is in the process of rolling out power use rates.  
24 And so our hope is that we have more pricing  
25 signals, differentiation of pricing signals across

1 the day, that that will certainly affect people's  
2 responsiveness in this area.

3 COMMISSIONER DOUGLAS: So I'll move  
4 approval.

5 COMMISSIONER SCOTT: Second.

6 CHAIRMAN WEISENMILLER: Okay, all those in  
7 favor?

8 (Ayes.)

9 CHAIRMAN WEISENMILLER: So this has 3-0,  
10 with one Commissioner recusing himself and one  
11 Commissioner absent today. So thank you.

12 So let's go on to 18 as Commissioner  
13 McAllister comes back.

14 (Commissioner McAllister returns from  
15 recusal of Item 17d and g.)

16 The EPIC Challenge: Accelerating the  
17 Deployment of Advanced Energy Communities. Staff,  
18 please?

19 MS. VACCARO: We have another disclosure  
20 and recusal with respect to 18.

21 COMMISSIONER MCALLISTER: Oh, yes. Right,  
22 okay so I'll do the recusal actually.

23 So on 18f, with the City of Berkeley, the  
24 Center for Sustainable Energy is a sub on that  
25 contract, so I'm recusing myself from that vote,

1 they're my former employer just prior to coming to  
2 the Commission. So I'll recuse from 18f.

3 CHAIRMAN WEISENMILLER: And so staff cover  
4 everything but f. We'll vote on that and then go to  
5 f.

6 MR. NG: Okay, very well. Good morning  
7 Chair Weisenmiller and Commissioners. My name is  
8 Anthony Ng, with the Energy Deployment and Market  
9 Fuels Station Office.

10 Today, I'm seeking Commission approval for  
11 12 projects selected from solicitation GFO-15-312,  
12 titled "The EPIC Challenge: Accelerating Deployment  
13 of Advanced Energy Communities."

14 This solicitation was released on November  
15 24th, 2015 for the purpose of challenging project  
16 teams to develop innovative and replicable  
17 approaches for accelerating deployment of advanced  
18 energy communities.

19 Projects were required to incorporate three  
20 main objectives into their proposals. The first was  
21 a regulatory analysis working with a local  
22 government partner to examine and streamline the  
23 planning and permitting requirements related to  
24 these developments.

25 The second was a real world conceptual

1 design of an advanced energy community necessary to  
2 bring the plan to a shovel-ready state.

3           And the third was an examination of  
4 financial and business models to make these  
5 developments more competitive from both the  
6 developer side and the consumer side.

7           Funding for this solicitation was divided  
8 into four groups. Groups one and two, were for  
9 projects located in Northern and Southern California  
10 respectively. Groups three and four, were also for  
11 projects divided between Northern and Southern  
12 California, but located in a disadvantaged  
13 community, as defined by the CalEnviroScreen.

14           There were 28 proposals received for this  
15 solicitation, 12 of which are being considered  
16 today, for a total for approximately \$17.3 million.

17           I also like to note that funding for this  
18 solicitation is divided between two phases. All the  
19 agreements under consideration today are part of  
20 Phase I, which focuses on the planning and design of  
21 an advanced energy community. Phase II, which staff  
22 expects to start in 2018, will provide funding on  
23 the build-out of an advanced energy community, where  
24 only recipients of Phase I funding will be allowed  
25 to compete for Phase II funding.

1           So starting with Item a, Item a is with  
2 ZipPower, LLC for just under \$1.5 million. This  
3 project will work with the City of San Leandro to  
4 develop and pilot a platform that optimizes  
5 distributed energy resources planning by integrating  
6 and automating data required to target optimal sites  
7 across city areas, and streamline preapproval of the  
8 permitting and interconnection at those sites.

9           Item b is with Charge Bliss, Inc. for \$1.5  
10 million. This project will work with the City of  
11 Carson to design a replicable advanced energy  
12 community that aims to integrate over three  
13 megawatts of photovoltaic generation with an  
14 electric vehicle charging network of at least 100  
15 charging stations and stationary battery storage.

16           Item c is with Clean Coalition for \$1.3  
17 million. This project will work with multiple  
18 cities within San Mateo County to incentivize and  
19 accelerate the planning, approval, and deployment of  
20 an advanced energy community including the planning  
21 and designing of at least one solar emergency micro-  
22 grid that will supply power to a critical facility  
23 in case of a Grid outage.

24           This project seeks to leverage the  
25 deployment of an advanced energy community to reduce

1 25 megawatts of peak energy usage throughout San  
2 Mateo County, which will strengthen the Grid and  
3 minimize a need for a new energy infrastructure.

4           Item d is with the University of California  
5 Berkley for \$1.5 million. This project will work  
6 with the City of Oakland to develop and design a  
7 block scale retrofit design to combine deep energy  
8 efficiency retrofit strategies, integrated  
9 distributed energy generation and storage systems,  
10 with water conservation and capture systems.

11           The development of this plan will also  
12 inform innovative ways to further plan permit and  
13 advance similar advanced energy community  
14 developments.

15           Item e is with the University of California  
16 Los Angeles for just under \$1.5 million. This  
17 project will work with the City of Claremont to fund  
18 the creation of an advanced energy community  
19 designed by leveraging meter-level energy demand  
20 data to conduct analysis on the effectiveness of  
21 energy efficiency programs and provide  
22 recommendations to guide local strategies.

23           This project will also establish a  
24 community infrastructure to facilitate community  
25 engagement to reach homeowners and renters in

1 disadvantaged communities, supporting the  
2 accelerated adoption of advanced energy communities.

3           Item g is with Groundwork San Diego-Chollas  
4 Creak for \$1.5 million. This project will work with  
5 the City of San Diego to fund a plan to transform  
6 the disadvantaged community of Encanto in Southeast  
7 San Diego into a community of near Zero Net Energy  
8 buildings. This project will include close  
9 engagement of the local community as well as the San  
10 Diego Unified School District to increase  
11 familiarity and buy-in with clean energy  
12 technologies and deployments.

13           Item h is with the Local Government  
14 Commission for \$1.5 million. This project will work  
15 with the City of Fresno to pilot a new process that  
16 allows local governments and developers to identify,  
17 prioritize and secure different financing mechanisms  
18 that will support a suite of projects that will  
19 comprise an advanced energy community.

20           This new process will be using Fresno's  
21 Blackstone quarter as well as its Downtown area as a  
22 pilot location.

23           Item i is with the Zero Net Energy  
24 Alliance, for just under \$1.5 million. This project  
25 will work with the City of Lancaster to develop

1 innovative policy frameworks and business models  
2 that overcome adoption barriers for Zero Net Energy  
3 in residential communities, and communities-  
4 distributed energy resources.

5           This project will provide tools and  
6 training for other local governments in the region  
7 as well as project developers, home builders,  
8 utilities and other stakeholders on how to use these  
9 technical and financial business models to advance  
10 Zero Net Energy and distributed energy resources.

11           Item j is with Biodico, Inc. for \$1.1  
12 million. This project will work with multiple  
13 jurisdictions in the Central Valley to develop and  
14 pilot a project management application tool, which  
15 will analyze how farms and agricultural communities  
16 can streamline permitting, financing,  
17 interconnection of multiple distributed energy  
18 resources in agricultural setting.

19           Along with multiple regional partners, this  
20 will be developed in collaboration with the San  
21 Joaquin Valley Air Pollution Control District and  
22 the United States Navy.

23           Item k is with the Zero Net Energy Alliance  
24 for just \$1.5 million. This project will work with  
25 the City of Richmond to facilitate development to a

1 comprehensive and integrated policy planning and  
2 financing framework, which the City of Richmond will  
3 then look to adopt into their regulatory landscape.

4           As part of this project, the ZNE Alliance  
5 along with the City of Richmond will also facilitate  
6 the planning and permitting of approximately 20  
7 abandoned homes within the city to be converted into  
8 affordable ZNE homes.

9           Item 1 is with the University of California  
10 Irvine, for \$1.5 million. This project will work  
11 with the City of Huntington Beach to develop tools  
12 that will plan and design the deployment of  
13 integrated advanced energy technologies to convert  
14 the disadvantaged community of Oak Park into an  
15 advanced energy community, while providing a  
16 template for converting other communities in the  
17 region into similar developments.

18           Staff is seeking approval for these items  
19 and I can answer any questions you may have at this  
20 time.

21           CHAIRMAN WEISENMILLER: Thank you.

22           Well, first let's start with if there's  
23 anyone in the room who has comments, please come up.  
24 Identify yourself with the court reporter.

25           MR. LEWIS: My name Craig Lewis. I'm the

1 Executive Director of the Clean Coalition. And the  
2 Clean Coalition is a non-profit entity with a long  
3 history of collaborating with the California Energy  
4 Commission, mostly on policy and technology  
5 innovation that enable advanced energy communities.

6 We are also positioned here to receive one  
7 of the rewards. And I wanted to just I am very  
8 pleased and I am thankful for the leadership of the  
9 California Energy Commission, and for the long-  
10 standing and continuing collaboration that we have.  
11 Thank you.

12 CHAIRMAN WEISENMILLER: Thank you. Thanks  
13 for being here.

14 Please come up next?

15 MR. SCHEUER: Hello, I'm Kif Scheurer. I'm  
16 the Climate Change Director at the Local Government  
17 Commission. We're also one of the proposed  
18 awardees.

19 I want to thank the Commission for this  
20 program as a whole, for the opportunity to really  
21 advance the energy profile of our communities  
22 through innovative projects. We feel that a project  
23 in Fresno is going to provide a game-changing  
24 resource, an opportunity to bring together policy  
25 and financing, and offer a replicable model for the

1 state as a whole. So thank and we encourage you to  
2 support it.

3 CHAIRMAN WEISENMILLER: Thank you. I  
4 was going to ask people to give their card to the  
5 court reporter when you finish speaking.

6 Come up, please come up.

7 MR. SCHROSKE: Hello, Commissioners. My  
8 name is Richard Schorske. I'm the Executive  
9 Director of the ZNE Alliance and the  
10 Electric Vehicle Alliance.

11 I just wanted to thank the Commission for  
12 providing a very comprehensive, and I think a  
13 wonderfully integrative proposal framework. I just  
14 wanted also note that our projects in the City of  
15 Lancaster and in Richmond are both located within  
16 CCAs. And both entities have the intention to  
17 coordinate with regard to developing novel terra  
18 structures that can integrate EVs into the Grid.  
19 And we hope to deploy those across multiple CCAs  
20 throughout California.

21 Another interesting element of the project  
22 that you may be interested in is that both -- as you  
23 may know the City of Lancaster, which has a very  
24 aggressive renewables goal -- 100 percent renewable  
25 by 2020 -- and they're more than half way there, is

94

1 also the site of the largest electric bus deployment  
2 in the State. Soon to be about 80 electric buses,  
3 each with batteries of 325 kWh to 550 kWh per bus,  
4 which creates a lot of good news and bad news for  
5 the Grid. And they are looking for a lot of  
6 stationary storage to mitigate demand chargers.

7           And we hope to work with the utility, with  
8 Southern California Edison, as well as Lancaster  
9 Choice Energy, to see what we can do about demand  
10 charges in that context. And also develop a VGI  
11 approach that could help to bring some two-way  
12 energy flow into the grid from that substantial  
13 resource.

14           And we anticipate that in Richmond medium-  
15 duty trucks serving the Port may also be part of  
16 that opportunity. So in the commercial medium-duty  
17 sector and heavy-duty sector we see the VGI is  
18 coming really soon -- not tomorrow, but this year.  
19 So thank you very much.

20           CHAIRMAN WEISENMILLER: Okay. Thank you.  
21 Thanks for being here.

22           Please come up?

23           MR. NAHAS: Good day, Commissioners. Tony  
24 Nahas from the Energy and Resources Group at UC  
25 Berkley, we are responsible for --

1 MS. VACCARO: Excuse me. I'm going to  
2 interrupt just really quickly.

3 MR. NAHAS: Yes.

4 MS. VACCARO: I want to make sure that this  
5 is not with respect to Item f at all?

6 MR. NAHAS: No.

7 MS. VACCARO: Okay, good. Go ahead.

8 MR. NAHAS: It is Item d.

9 MS. VACCARO: Thank you

10 MR. NAHAS: All right, the EcoBlock  
11 Project.

12 I wanted to respectfully urge the  
13 Commissioners when in future funding for these  
14 remarkable projects -- that allow us to integrate a  
15 suite of technologies to drive ZNE, energy storage,  
16 and the other advances we need to get to a low or  
17 even zero carbon society -- one thing that we would  
18 want you to think of including in any future  
19 research, is the inclusion of social sciences in  
20 respect to their impact on communities.

21 We find this to be absolutely key in our  
22 work in research. We're working with the community  
23 of approximately 115 individuals living on an  
24 average low-to-middle income city block in Oakland.  
25 To approach the necessary steps to convert this

1 neighborhood into an entirely ZNE neighborhood with  
2 deep water retrofits requires an enormous amount of  
3 buy-in.

4           And we find that despite the fact that  
5 you've been very generous with public monies in  
6 funding us, we find that there is an additional  
7 amount that really ought to be there to cover the  
8 social sciences and to work with these people,  
9 because for them it's a life change of enormous  
10 proportions.

11           Thank you very much for your consideration,  
12 Commissioners.

13           CHAIRMAN WEISENMILLER: No, thank you.

14           Anyone else in the room?

15           (No audible response.)

16           Okay. Let's go to anyone on the phone that  
17 has comments, again on everything but F.

18           MR. PONDER: Hello?

19           CHAIRMAN WEISENMILLER: Please go ahead and  
20 identify yourself.

21           MR. PONDER: Yeah, I'm Bill Ponder. I'm  
22 the Vice President of Groundworks San Diego, and a  
23 long time resident of the project area.

24           I'd like to just highlight a few points  
25 about the importance of this grant to our community.

1 This project will transform the defined project area  
2 within the City of San Diego's Encanto Community, in  
3 the top 25 percent of California Environmental  
4 Protection Agency in the 2.0 disadvantaged  
5 communities, into a federated ZN and E systems. The  
6 need for this community to get to Zero Net Energy is  
7 critical to its long-term survival.

8 We are grateful for the California Energy  
9 Commission to recognize that Southeast San Diego can  
10 achieve this goal.

11 I want to stress the importance of the  
12 novelty of the community-based bottom up approach to  
13 sustainable planning models that strive for the Zero  
14 Net Energy and to create an environment for the next  
15 generation of residents who will benefit from our  
16 work.

17 Our nonprofit, Groundwork San Diego, is  
18 deeply rooted in the Encanto Community. And the CEC  
19 funds have been a missing link to a critical work  
20 that will be accomplished in the statement of work.

21 So thank you for the timing of this and the  
22 magnitude of it.

23 And I want to turn it over to our Project  
24 Manager, so that he can talk about the relationship  
25 between Groundwork San Diego and the other agencies

1 that are going to be involved.

2 MR. SAKUMAR: Hello. My name is Srinivas  
3 Sukumar. I'm a retired corporate executive  
4 affiliated with the Jacobs School of Engineering at  
5 UC San Diego for the last ten years. I'll be  
6 working for Groundwork for the next 23 months as a  
7 Project Manager for this inseed (phonetic) project.

8 We would like to mention our strong  
9 appreciation to two institutions. UCSD for its  
10 EarthLab Initiative, and the Center for Energy  
11 Research to enable the direct transfer of their  
12 technical and operational experiences in distributed  
13 energy to Encanto's federation of DER and community  
14 planning; and SDG&E for its strong support and  
15 participation in Phase I.

16 SDG&E, on May 16th, featured a member of  
17 one of Encanto's churches during the unveiling of  
18 the EV pilot charging program. We look forward to  
19 working with the Commission staff and returning in  
20 2018 with our full proposal for Phase II. Thank you  
21 very much.

22 CHAIRMAN WEISENMILLER: Thank you.

23 Anyone else?

24 (No audible response.)

25 Okay. So let's go to the Commissioners on

1 this.

2 Now, I think again, we're looking at sort  
3 of transforming society. And so certainly these are  
4 exciting. They're sort of step one for stuff,  
5 certainly encourage people to do the job. And also  
6 look for matching funding obviously for UC Berkley,  
7 talk to PG&E, talk to Oakland, talk to a lot of  
8 people. Don't just look to us for all time.

9 So anyway, but having said that we're  
10 excited and would like to see these projects be  
11 successful, so you can move on to Phase II.

12 Andrew?

13 COMMISSIONER MCALLISTER: Yeah, I guess I  
14 agree with the comments that have been made about  
15 how big a deal the cultural aspect of this is.

16 I mean we tend to sort of with a de facto  
17 engineering approach say, "Okay the building and the  
18 property boundaries are kind of where decisions are  
19 made." Well actually that's a big part of it, but  
20 actually if we're talking about true cultural  
21 change, it has to be communities.

22 And we sit here at the state level and  
23 really the local jurisdictions and the local  
24 communities and the neighborhoods are where a lot of  
25 the decisions in fact, in practice, by people get

100

1 made. And so we have Codes and Standards that sort  
2 of bound the discussions legally and regulatorily,  
3 but in fact, on the ground, people need to be  
4 comfortable making these decisions. So we have to  
5 produce transaction costs. We have to provide  
6 information. We have to do all these foundational  
7 things, but at the end of the day, we need to  
8 understand how communities make decisions and how  
9 individuals within those communities contribute.

10 And so I agree with the need for social  
11 science research. Again not necessarily all funded  
12 by the Energy Commission. I think there's a large  
13 sort of chain of touches on any given project that  
14 happens and it really does start at the local level.

15 These are big investments. They're not  
16 anything -- individuals cannot take them lightly,  
17 because of significant funding and significant  
18 effort. But it's not just about contracting a  
19 contractor to come into your house and change your  
20 windows. It's actually much broader and community  
21 oriented, so I'm very much -- I think this is a  
22 great set of projects. I'm really happy we're doing  
23 this theme on the solicitations.

24 COMMISSIONER SCOTT: I also love these  
25 projects, another great briefing I got from Anthony

1 on them.

2           And another thought that I just wanted to  
3 share with you all is that I really love the concept  
4 here; you know the EPIC challenge. And I'm thinking  
5 in my head, how do I have an ARFVTP challenge in the  
6 transportation space where we have the chance to do  
7 a Phase I and help fund the planning. And then have  
8 the folks who won the Phase I have an opportunity to  
9 compete amongst themselves to do a Phase II where we  
10 really help fund the implementation of the -- or one  
11 of the funders of the implementation in Phase II.

12           And I really like that concept a lot and so  
13 I just wanted to share that with you all.

14           COMMISSIONER MCALLISTER: Okay. So I'll  
15 move item 18 all except for Item f.

16           COMMISSIONER SCOTT: Second.

17           CHAIRMAN WEISENMILLER: Okay, all those in  
18 favor.

19           (Ayes.)

20           CHAIRMAN WEISENMILLER: So this item passes  
21 4-0.

22           Now, hold on a second. Commissioner  
23 McAllister is recusing himself on f, so he's leaving  
24 the room.

25           (Commissioner McAllister recused himself.)

1 CHAIRMAN WEISENMILLER: Go ahead.

2 MR. NG: Good morning again, Commissioners.

3 Item f is with the City of Berkeley for just under  
4 \$1.5 million to design, plan and facilitate the  
5 permitting of a clean energy micro-grid community.

6 This project will use a downtown parking  
7 facility as an anchor facility through which to  
8 analyze the impacts of aggregating and sharing clean  
9 energy resources across several facilities in a  
10 dense urban environment including critical  
11 facilities, while working with stakeholders to  
12 develop regulatory, technical and financial plans  
13 that support similar developments.

14 Staff is seeking approval of this item and  
15 I can answer any questions you may have.

16 CHAIRMAN WEISENMILLER: Thank you.

17 So first, is there anyone in the room or on  
18 the line that has comments on this item?

19 (No audible response.)

20 CHAIRMAN WEISENMILLER: Okay. So basically  
21 then back to we'll just transition over to  
22 Commissioners.

23 Again, I think this is exciting. I mean  
24 certainly on the micro-grid side, we've been doing a  
25 variety of projects. We're obviously trying to

1 transition from sort of research projects to  
2 applications in a variety of fashions, do some  
3 degree of standardization, and drive the cost down.

4           And certainly micro-grids, as the Navy can  
5 tell you or the Marines, that if you have a variety  
6 of resources at a location and/or demand response is  
7 part of it, you need something to tie it together.  
8 And it's obviously they've get the much more  
9 sophisticated ones on things like making sure you've  
10 got reliable power at a military base or campus or  
11 among bases.

12           But again we're trying to get -- we're  
13 doing a road map this year on micro-grids, but again  
14 this is a critical enabling technology going  
15 forward.

16           COMMISSIONER SCOTT: I will move approval  
17 of item 18f.

18           COMMISSIONER DOUGLAS: Second.

19           CHAIRMAN WEISENMILLER: Okay, all those in  
20 favor?

21           (Ayes.)

22           CHAIRMAN WEISENMILLER: This passes 3-0  
23 with one recusal.

24           (Commissioner McAllister returns from  
25 recusal of Item 18f.)

1                   CHAIRMAN WEISENMILLER:   Commissioner  
2 McAllister is coming back as we go on to Item 19,  
3 Developing the Smart Grid of 2020: Clean, Safe and  
4 Highly Intelligent.   Staff?

5                   MS. SICHON:   Good morning Commissioners.  
6 My name is Consuelo Sichon with the Energy Research  
7 and Development Division.

8                   Staff released a competitive grant  
9 solicitation in November, 2015 to fund applied  
10 research and development projects that develop  
11 technologies, tools or strategies, for the modern  
12 distribution system that will help to efficiently  
13 and reliably integrate distributed and renewable  
14 generation into California's electric Grid.

15                  A total of 29 proposals were received and  
16 23 of those proposals passed administrative  
17 screening.   The notice of proposed award was  
18 released in March, 2016, awarding seven projects for  
19 a total of more than \$7 million.

20                  Today, staff is seeking approval of the  
21 first four projects totaling more than \$4 million,  
22 which address the solicitation goals by developing  
23 Smart Grid operation and management practices, or  
24 developing enhancements to existing distribution  
25 automation systems.

1           Item 19a is for a grant with the Electric  
2 Power Research Institute, Incorporated that will  
3 result in open source communication software that  
4 can be incorporated into grid-type solar generation  
5 and other distributed energy resources to meet the  
6 California Rule 21 requirements for monitoring and  
7 managing those resources.

8           This project will also provide a  
9 certification test procedure, by which any  
10 distributor energy resource system or device can be  
11 checked for compliance with the Smart Energy Profile  
12 2.0 Application Protocol Standard. The recipient  
13 will be providing more than 240,000 in match funds.

14           Item 19b is for a grant with the Siemens  
15 Corporation to fund the development of software that  
16 allows electrical distribution substations to  
17 communicate with each other and with smart meters to  
18 perform their functions, and also links grid  
19 problems to potential solutions. Distribution  
20 operators could use the real time dashboard display  
21 to automate routine and non-routine tasks performed  
22 at a substation.

23           This project could result in faster  
24 resolution of power outages, thereby making the Grid  
25 more resilient. The recipient will be providing

1 \$455,000 in match funds.

2 Item 19c is for a grant to fund the  
3 continued development of cloud-based software called  
4 Powernet for homes and businesses.

5 The SLAC National Accelerator Laboratory  
6 received initial funding from the U.S. Department of  
7 Energy's ARPA-E Program to prove the concept of this  
8 open source and open architecture software platform.  
9 This project would build upon that research by  
10 conducting a pilot test of Powernet under different  
11 simulated market conditions for Navy residential  
12 housing in Monterey, California.

13 This pilot test will help to understand how  
14 distribution automation systems can accept  
15 aggregated data from residences and use it to more  
16 efficiently run the Distribution Grid.

17 Item 19d is a grant with Onset Incorporated  
18 to develop modeling software called the UniGen Smart  
19 System, which simulates directly coupling renewable  
20 resources with firming resources such as a gas-fired  
21 power plant and/or energy storage in near real-time  
22 so that the combined output does not deviate from  
23 the committed dispatch schedule.

24 This approach helped solve generation  
25 variability problems at a local level to lessen the

1 amount of variability seen at the transmission  
2 scheduling level, which reduces renewable  
3 integration costs.

4 Staff requests approval of these four  
5 agreements and I'd be happy to answer questions.

6 CHAIRMAN WEISENMILLER: Thank you.

7 Well first, are there any comments from  
8 anyone in the room or on the line on these items.

9 (No audible response.)

10 Okay. Let's move over to the Commissioners  
11 then.

12 Certainly, one of things that we're seeing  
13 as a real transformation area is the distribution  
14 system. The PUC under President Picker's  
15 leadership, on More Than Smart, has been really  
16 trying to move the envelope in this area; and also  
17 in coordination with the State of New York, on the  
18 REV with the PUC Chair there; and also with Hawaii,  
19 which certainly has its own set of issues on the  
20 distribution circuits.

21 So it's a pretty collaborative on some -- I  
22 think the notion on this stuff is sort of step-by-  
23 step. But certainly trying to outlay some of the  
24 groundwork through the research is critical. I  
25 think we've gone from pretty dumb systems. I think

1 the last time, according to Michael, we were looking  
2 at some of the polls from President Picker. And  
3 there's sort of more intelligence on many of the  
4 polls than most people would now realize. And so  
5 trying to figure out how that's going to be tied  
6 into the security, into the sort of resource  
7 acquisition, planning is critical.

8           And also there's obviously cyber security  
9 issues. You know that I know on some -- obviously  
10 working with the Navy on some of their stuff, but  
11 again it's just people are very nervous about any  
12 cloud-based systems. Or again, on the cyber  
13 security as we move into the distribution area,  
14 making sure that we keep everything safe and  
15 reliable will be critical.

16           So again, these are pretty interesting  
17 projects from different perspectives that are trying  
18 to move things along.

19           COMMISSIONER MCALLISTER: Yeah, just a lot  
20 of the action these days is at the Distribution  
21 Grid. And it sort of goes along with this local  
22 jurisdiction issue at some level, but I'd really  
23 think the optimization really needs to be localized.  
24 And we're moving in that direction in the  
25 forecasting and some of the analysis we're doing and

1 trying to really push things down to a level that  
2 technology is enabling and really requiring that  
3 planning go.

4           You know, on Item 11, City of Baldwin Park,  
5 we made a loan today, approved that one, and that  
6 includes distribution transformers. And that's a  
7 place where some of this R&D might come around, some  
8 of these projects that actually we're going to help  
9 fund some hardware that has some of these smart  
10 features included in it.

11           That Distribution Grid is a huge investment  
12 that's going to be renewed as we renovate our  
13 distribution systems. And so this is sort of  
14 falling out of this could be best practices to help  
15 that be managed at the lowest cost and highest  
16 effectiveness. So this is really great  
17 groundbreaking stuff.

18           Again, thanks Connie and the staff for  
19 working through all of these and making sure we get  
20 good projects.

21           Okay. I will move Item 19.

22           COMMISSIONER DOUGLAS: Second.

23           CHAIRMAN WEISENMILLER: All those in favor?

24           (Ayes.)

25           CHAIRMAN WEISENMILLER: Item 19 passes 4-0.

1           Let's go on to Item Number 20, Advancing  
2 Water and Energy Efficient Strategies in  
3 Technologies in California. Staff?

4           MR. MORI: Good afternoon, Commissioners.  
5 I'm Kevin Mori of the Energy Efficiency Research  
6 Office. Today, staff is recommending approval of  
7 two agreements for projects totaling more than \$3.2  
8 million of EPIC funding.

9           These agreements are from the solicitation  
10 titled, "Advancing Water and Energy Efficient  
11 Strategies and Technologies in California."

12           The purpose of this solicitation is to fund  
13 applied research, demonstration and deployment and  
14 market facilitation of technologies and strategies  
15 that would save both water and energy to address the  
16 current California drought.

17           These agreements are results of the  
18 competitive solicitation in which we received 39  
19 proposals for three funding groups. The two  
20 agreements presented today are from funding group  
21 two, Technology Demonstration and Deployment.

22           The first project is winery water and  
23 energy savings with the University of California  
24 Davis for almost \$2 million. The wine industry is  
25 the second largest consumer of electricity in the

1 food industry and consumes approximately 400 GhW per  
2 year. It also takes about six gallons of water to  
3 produce one gallon of wine.

4           The recipient will demonstrate an efficient  
5 reverse-osmosis water treatment technology that  
6 treats barrel wash water to potable water standards.  
7 And a wine-to-wine heat exchanger to heat and cool  
8 white wine for the stabilization process at the  
9 existing large-scale wine production facility,  
10 Jackson Family Wines, in Sonoma County.

11           The Vibratory Shear Enhanced Process is a  
12 reverse-osmosis membrane system that vibrates the  
13 treatment membrane to prevent fouling and nearly  
14 eliminates reverse-osmosis reject water. The wine-  
15 to-wine heat exchanger improves the stabilization  
16 process and removes crystallization from the  
17 bottling process.

18           These technologies have the potential to  
19 save 1.4 million gallons of water per year and  
20 246,000 kWh hours per year. Over \$400,000 will be  
21 provided as match funding. The project is expected  
22 to take 45 months and has Jackson Family Wine as a  
23 project partner.

24           The second project is advanced renewable  
25 energy storage and recycled water projects with

1 Victor Valley Wastewater Reclamation Authority for  
2 approximately \$1.7 million.

3           The proposed project will address the  
4 inability of the existing power generation system to  
5 respond to variable onsite electrical loads under  
6 existing conditions, rather than fluctuations in the  
7 wastewater treatment plant's power demand. For  
8 example, when a bank of electric motors turns on or  
9 off, can trip off a portion of the facility's  
10 wastewater treatment equipment, resulting in  
11 effluent exceeding California's strict Title 22  
12 recycled water requirements.

13           Currently, Victor Valley Wastewater  
14 Reclamation Authority must dispose of this water  
15 without beneficial use. Under the project, the  
16 equipment tripping off due to power fluctuations  
17 would be significantly curtailed, enabling reuse and  
18 savings of approximately 2.5 million gallons of  
19 water per year, and reducing recycling which would  
20 therefore increase plant efficiency.

21           The recipient and project team will  
22 demonstrate an advanced pre-commercial flow battery  
23 storage and control system at the recipient's  
24 existing regional wastewater treatment plant,  
25 located in a disadvantaged community outside of

1 Victorville, in Southern California.

2           When complete the project will deploy  
3 Primus Power's innovative ENERGYPOD flow battery  
4 system, managed by a controller system designed by  
5 University of California, Riverside.

6           The stored power will be used to meet peak  
7 demand onsite with 100 renewable energy, reducing  
8 Grid power demand by approximately 4.2 GWh/yr, which  
9 is equivalent to a power cost reduction of  
10 approximately \$470,000 per year. And reducing  
11 greenhouse gas emissions by 1,400 metric tons of CO2  
12 equivalent per year.

13           Over \$900,000 will be provided as match.  
14 This project is expected to take four to five months  
15 and has University of California Riverside, Primus  
16 Power Corporation, Anaergia Services, Apple Valley  
17 Construction Company, and Master Electric as project  
18 partners.

19           Staff recommends approval of these  
20 projects. I will be happy to answer any questions.  
21 And thank you. Xxx 20:41:01

22           CHAIRMAN WEISENMILLER: Thank you.

23           We have one public comment on this item in  
24 the room. Please come forward.

25           MR. PANKIV: Good day, I appreciate the

1 opportunity. Good day, Commissioners. My name is  
2 Nazar Pankiv. I am assisting California rivers in  
3 and improving, enhancing energy flow. And as for  
4 now I also am facilitating your research and study  
5 in American rivers, here in this capital region.

6 My recommendation is to support the State  
7 Water Board for adoption of regulations to prevent  
8 water misuse, unreasonable use, and by preventing  
9 supply shortage loss, and promoting also water  
10 cycling and harvesting the rain as a source and  
11 promoting these activities in educational  
12 institutions.

13 So we are asking for you to support the  
14 emergency regulations and resolutions to be more  
15 mindful in the water savings.

16 CHAIRMAN WEISENMILLER: Okay. Thank you.

17 No, we have a very good with Felicia Marcus  
18 at the Water Board. And certainly we have been part  
19 of the Governor's emergency orders on water  
20 conservation and have indeed done Water Efficiency  
21 Standards in record time. So any way we certainly  
22 understand the drought in California and are working  
23 with the Water Board on that, so thank you.

24 MR. PANKIV: Yeah, because we have already  
25 commented and observed many unreasonable water usage

1 in the capital region, so we are kindly suggesting  
2 you to support this resolution.

3 CHAIRMAN WEISENMILLER: Well again we work  
4 with the Water Board. They're the primary  
5 Authority, and we'll certainly continue to work with  
6 them. Thank you.

7 MR. PANKIV: Thank you.

8 CHAIRMAN WEISENMILLER: Any other public  
9 comment either in the room --

10 (No audible response.)

11 CHAIRMAN WEISENMILLER: Okay. So let's go  
12 to the dais. Again, I think as we just talked, I  
13 mean I notice Peter Glick is now saying -- well, so  
14 if you look at this year, the interesting statistics  
15 from the Water Board that did a great presentation  
16 down at Pendleton to us and the military, was that  
17 basically El Nino was sort of a bust. In Northern  
18 California, we basically got our reservoirs full.  
19 We got rain. It was a good year frankly.

20 Southern California is basically in the  
21 fifth year of the drought. And at the same time  
22 when you look, the weather is starting to -- water  
23 temperatures are changing from basically El Nino to  
24 -- anyway, we're going from presumably a wet year to  
25 a dry year. It's a little early to talk about the

1 severity of the dry year coming forward, but Dr.  
2 Glick has noted that this might mean that  
3 California's in sort of a permanent state of  
4 drought. And so in that condition, then obviously  
5 it's very important to look at technologies to  
6 basically make sure we're using water more  
7 efficiently.

8           Also, in terms of looking forward to  
9 reclamation, again the Governor's done a recent  
10 Executive Order moving forward on -- well, I think a  
11 lot of the targets have been relaxed -- that we're  
12 trying not to have people become complacent on water  
13 use and to avoid wasteful uses of water.

14           All right, I think these measures are a  
15 good step again in developing the options that we  
16 have for people going forward on how to better use  
17 water.

18           COMMISSIONER MCALLISTER: I'll move Item  
19 20.

20           COMMISSIONER DOUGLAS: Second.

21           CHAIRMAN WEISENMILLER: All those in favor?

22           (Ayes.)

23           CHAIRMAN WEISENMILLER: So this item passes  
24 4-0 again. Thank you.

25           So let's go on to the minutes, Item 21.

1           COMMISSIONER SCOTT: I move approval of the  
2 minutes.

3           COMMISSIONER MCALLISTER: I'll second.

4           CHAIRMAN WEISENMILLER: All those in favor?

5           (Ayes.)

6           CHAIRMAN WEISENMILLER: The minutes are  
7 approved 4-0.

8           Let's go on to Lead Commissioner/Presiding  
9 Member Reports.

10           Commissioner Scott?

11           COMMISSIONER SCOTT: Okay, great. I have a  
12 few things that I wanted to highlight for you all  
13 today.

14           First is last week I went with Mike  
15 Gravely, my advisor Rhetta deMesa, to Fort Irwin  
16 National Training Center, which was a fantastic  
17 trip. You fly into Ontario and then you drive two  
18 hours or so on I-15. And they have their own road  
19 off of I-15 that goes up to the base.

20           This is an Army installation. And what  
21 they do there is train brigades, which is one of the  
22 largest sizes of formations that can move. So it's  
23 up to 5,600 people at a time that can train at the  
24 center there. So it was really neat.

25           They had a series of impressive projects

1 that they shared with us. They have a fantastic  
2 concentrated solar facility installed. I'm blanking  
3 on exactly how many megawatts. I forgot to write it  
4 down to bring to share with you all, but that was  
5 really neat. One of the things they're looking for  
6 of course, as many of our military installations  
7 across California, are is some resiliency.

8           They're at the end of a power line and it  
9 makes a big deal if the power goes out there. It  
10 impacts their ability to carry out their training  
11 mission as well as to just house the soldiers in the  
12 desert comfortably.

13           So that was fantastic to see. They have a  
14 wastewater treatment facility there. They get water  
15 from various wells -- wells is maybe not quite right  
16 -- but basins around the area. The water is not  
17 drinkable. So they have to use reverse osmosis in  
18 order to have drinkable water at the base.

19           But what they're working on is this  
20 wastewater treatment facility. It was triple  
21 filtration. And it had some really interesting kind  
22 of like a dialysis that was the first part. And it  
23 had two more components that it has to run through.  
24 That's how you get the arsenic, the fluoride, and  
25 the silica out of the water, so that it will be

1 drinkable.

2           Once that project is up and running, which  
3 is supposed be later this summer, almost 100 percent  
4 of the water on the base, will then be drinkable.  
5 And so they won't have to have this dual water  
6 system that they currently have. They'll just be  
7 able to use the water.

8           They have also built the DOD's -- or so  
9 they say -- the DOD's first Net Zero Energy  
10 hospital. And that was really, really cool to see.  
11 That is also under construction, so we got to put on  
12 our hard hats and shoes and kind of go walking  
13 around this construction site. And so it was kind  
14 of neat though, because all the piping and the  
15 lighting and all of that is still out so that you  
16 can kind of see the different things that they've  
17 put in place. This is going to be a state-of-the  
18 art facility, Zero Net Energy. It'll be LEED  
19 Platinum as well.

20           They have -- I forget what you call it, but  
21 the theory is that if you are in a nice setting,  
22 you'll heal better. And so there are these amazing  
23 windows that just pull the desert almost right into  
24 your hospital room, but it's also fantastic for  
25 lighting and those types of things as well.

1           And so this just was a really interesting  
2 facility to see. That's also supposed to be open  
3 sometime this summer and the fall.

4           And then they also have a waste-to-energy  
5 project there. It uses pyrolysis, so a lot of heat  
6 in order to digest the materials. And this one was  
7 also fascinating to see, because when it's up and  
8 running at scale, they will be able to put all of  
9 the waste at the base into this facility. And so  
10 there will be a zero waste facility as well, at the  
11 installation.

12           So it was just really awesome to see the  
13 types of projects that they're working on. They  
14 were excited to hear that the Energy Commission is  
15 interested in working in partnership with them on  
16 different projects that are of mutual interest to  
17 each other.

18           So I really enjoyed that visit, and want to  
19 say thanks again to Mike Gravely and to Rhetta for  
20 setting up such a great trip and also to Fort Irwin  
21 for being such wonderful hosts. That was just last  
22 week.

23           Two other things I wanted to update you on.  
24 We did a Technology Merit Review on the EV  
25 Infrastructure. So we've done a series in the

1 Transportation team of little mini merit reviews,  
2 kind of like the DOE's Annual Merit Review. Of  
3 course we can't take over a convention center and  
4 look into every project that we have, but we've been  
5 highlighting first the biofuels, then the medium-  
6 duty, heavy-duty space. And now we've looked at  
7 some EV Infrastructure.

8           So it was fantastic to pull in folks who  
9 were thinking about corridors, who were thinking  
10 about destinations, who were looking into the  
11 multifamily and really kind of do a deep dive and  
12 understand what some of the challenges that they've  
13 seen, and also what some of the successes they have  
14 seen are, so that we can kind of take those lessons  
15 learned and raise all boats in the EV Infrastructure  
16 space.

17           Commissioner Carla Peterman joined me for  
18 that, so that was fantastic. I appreciate her  
19 spending some time with us that day.

20           And then I wanted to talk to you a little  
21 bit about a journey that I took at the end of April,  
22 with Mary Nichols and Tyson Eckerle and a few other  
23 folks from Air Resources Board Energy Commission and  
24 GO-Biz. We drove from Santa Monica to Sacramento in  
25 our fuel cell electric vehicles, fueled up at Harris

1 Ranch, which was terrific. They were wonderful  
2 hosts for us.

3 But it was great. We had four Toyota  
4 Mirais and two Hundai Tucsons. And we had a little  
5 caravan. Left Santa Monica in a timely way after  
6 ribbon cutting the hydrogen station that was there.  
7 We stopped at the end of Tejon Pass to swap out  
8 drivers. I have to say these cars are really,  
9 really fun to drive and I didn't want to swap out,  
10 but I did.

11 So the next part from Tejon Pass up to  
12 Harris Ranch I rode in a Marai with Mary. And  
13 that's fantastic. We got to Harris Ranch. That  
14 station is a first element station, True Zero, is  
15 what they're calling them. And we refueled all six  
16 cars in about 20 minutes and actually got all of  
17 that done before the press got there, because we  
18 were a little bit early when we arrived. But we had  
19 a terrific press event. This is a connector  
20 station. You actually can drive from Southern  
21 California to Northern California in these vehicles.

22 They're fantastic, they're quiet, they're  
23 smooth, they're zippy, they're really responsive.  
24 And they have some really neat high-tech stuff like  
25 adaptive cruise control. It has lane assist, so it

1 lights up on a -- it's got a little screen in front  
2 of you and it kind of lights up if you get too close  
3 to one edge of the lane or the other. So they're  
4 really fun to drive.

5 We did a little stop kind of in between  
6 Harris Ranch and Sacramento, again to have a chance  
7 to swap out drivers, swap out companions in the cars  
8 and then drove the rest of the way here to  
9 Sacramento.

10 Got to Sacramento around 5:00 o'clock,  
11 which was great. And then we hosted at Miwell,  
12 (phonetic) a reception with some legislators, so  
13 that we were able to talk to them with about what we  
14 had been doing during the day.

15 And I was going to make some slides and  
16 bring them, but I decided not to do that, but I do  
17 have some really fun photos. So I'd be happy to  
18 share those with you all.

19 But the statistics, where we are right now  
20 there's 17 stations that are open for retail, so  
21 we're still at the beginning. There's 300 cars; we  
22 anticipate 51 by 2017. Just last Friday, we opened  
23 Santa Barbara Station and there's a couple stations  
24 in the Bay Area that are pending. So if you want to  
25 take that drive along the Coast instead of along I-

1 5, you'll be able to do that soon. And so that was  
2 just a really great trip.

3 If you have a Twitter account and you want  
4 to look it up, look up #MarysValleyRally. And we  
5 had our own emoticons that day, which were really  
6 fun. That's what I would have brought a picture of  
7 to show you.

8 But it just was a great opportunity to show  
9 that the technology is here. It's commercially  
10 available. The fueling stations are here. Anyone  
11 who has a credit card and the car can just go there  
12 and fuel up the car. So that was kind of the  
13 purpose of our trip.

14 That was actually really a lot of fun. It  
15 was a great day.

16 And then the last thing I wanted to do was  
17 just say thank you to Linda Rapattoni, who I know is  
18 retiring in a couple of weeks. She has been really  
19 great to work with. She has a lot a lot of  
20 enthusiasm for the transportation projects, for the  
21 ARFVTP program. She can run that acronym off of her  
22 tongue just as fast as I can. I really have  
23 appreciated how she has dug in and helped us  
24 communicate about some of the successes in the  
25 program. So I wanted to just take a moment to

1 acknowledge her and say thank you.

2 And that's my report.

3 COMMISSIONER MCALLISTER: Great. So they  
4 do maintain 80; is that what you're saying, you got  
5 there before the press? That's good.

6 COMMISSIONER SCOTT: Yes.

7 COMMISSIONER MCALLISTER: But you weren't  
8 driving 80, I'm sure.

9 So let's see. I actually have been out of  
10 the office for much of the intervening time between  
11 the last business meeting and this one, but I did,  
12 working from Denver, Colorado, which has very  
13 different weather from here, I can tell you. It  
14 snowed on us twice in the last three weeks.

15 So I guess the main thing I wanted to talk  
16 about was just a little bit about the L.A.  
17 Sustainability Summit. It was the tenth  
18 anniversary, it was in late April. And they just do  
19 such a great job and they get high level  
20 participation with the mayor and just the business  
21 and community leaders from across the Region, across  
22 the city, and just maintaining the...

23 We talked a little earlier about community.  
24 It's a big, big city, huge city, a lot of diversity,  
25 and they manage to maintain a vision and keep some

1 continuity year to year on what they talk about with  
2 the new flavors of the day. Obviously those change  
3 a little bit, but they really have a long-term  
4 vision and I really admire L.A. and I'm excited  
5 about all the things that they're doing on the  
6 sustainability front in energy and in water and  
7 linking it to jobs and disadvantages communities and  
8 all the really important social issues that they're  
9 also grappling with. So my panel, I think, was very  
10 fruitful and stimulated a lot of good discussion.

11           The other thing I want to do is just thank  
12 my staff. Pat Saxton, my Adviser, and Donna Parrow,  
13 my Executive Assistant, they did a great, great job  
14 while I was out of the office and kept a lot of  
15 balls in the air and I was able to really keep  
16 plugged in with their assistance while I was away.

17           And then also I finally want to thank my  
18 colleagues here on the dais for just keeping the  
19 fort running and everything moving forward.

20           And finally, the Efficiency Division staff,  
21 Dave Ashukian and Christine and the team in the  
22 various offices. A lot got done, a lot's getting  
23 done. There's many, many balls in the air, lots of  
24 fronts we're moving forward on with respect to  
25 standards.

1           Just submitted some incredibly good  
2 comments to the Department of Energy on the general  
3 service lighting rulemaking that they're engaged in,  
4 and I think we are providing so much value beyond  
5 our state borders in the energy efficiency realm.

6           It's not unheard of, we do that here. Even  
7 people expect us to and we want to, but the impacts  
8 of what we do here and then we're able to show that  
9 it can be done and then take that to the federal  
10 level just multiplies in order of magnitude the  
11 impact that we have, and so it's really huge.

12           Another example of that is the battery  
13 charger standards that just went federal as well.  
14 They really keyed off -- the majority of what the  
15 Department of Energy did keyed off of what we had  
16 done years ago in our home state, and I think really  
17 provides value to a good reason to get industry  
18 aligned with a set of standards that is assertive  
19 and saves a lot of energy that wouldn't otherwise  
20 happen without us.

21           So on the battery chargers I want to thank  
22 Commissioner Douglas for she was really pushing that  
23 back in the day and it's really had a huge impact,  
24 so we're hoping the same thing can happen with  
25 computers, the same thing can happen with lighting

1 and really have an impact beyond our own weight, you  
2 know, punching above our weight. Our weight is big,  
3 but the country is even bigger, so very, very  
4 positive developments.

5 And I think we have just terrific staff on  
6 that and many other efficiency items, which we see  
7 every business meeting, so I want to just thank  
8 staff for keeping all those balls moving forward.

9 CHAIR WEISENMILLER: And I did get a very  
10 nice note from Ralph Cavanaugh with the NRDC's blog,  
11 again thanking us for our work on the battery  
12 chargers.

13 Let me segue to Commissioner Douglas.

14 COMMISSIONER DOUGLAS: Well, I will say  
15 that when I saw the action taken by DOE it certainly  
16 brought a smile to my face and made my day.

17 COMMISSIONER MCALLISTER: I will say also,  
18 a number of positions ago back in the day, maybe --  
19 let's see, I want to say probably right around 2000,  
20 I did some of the original actual work in a  
21 consulting capacity with developing some foundation  
22 for the battery charger standards back when we were  
23 really just thinking about what approach might make  
24 sense for that sector, and worked on that for, I  
25 think a couple years and then moved on to other

1 things.

2 But to have it come around and really go to  
3 fruition and become something real is very  
4 gratifying to be part of this community where a lot  
5 of people worked on that and got it moving forward  
6 and it came to fruition here at the Commission.

7 COMMISSIONER DOUGLAS: Yeah, absolutely.  
8 Yeah, that was an amazing achievement and a lot of  
9 people worked really hard on that.

10 I just remember being fairly new to  
11 appliance standards at that point. I had helped as  
12 Chair get the TV standards across the finish line,  
13 but I didn't really sit with them from start to  
14 finish in the same way that I had the chance to do  
15 with battery chargers. And I remember sitting here  
16 at this dais and at some point being really sorry  
17 that Art wasn't sitting next to me helping to  
18 translate some of the arguments I was hearing  
19 between the technical experts from staff and  
20 industry and the environmental groups and others.  
21 But we all pulled through as we do and I'm certainly  
22 watching the developments on computer standards and  
23 some of the other work that we're doing now with a  
24 lot of interest.

25 So I'll keep my report really brief. I

1 just wanted to note that on Tuesday of last week,  
2 May 10th, I participated in an event at the  
3 Governor's Office to launch or release the report on  
4 the San Joaquin solar work, which is work that I've  
5 reported on every now and then at the dais. But it  
6 was a really impressive and experimental effort to  
7 take some of the tools and ideas and platforms that  
8 we used in the desert renewable energy conservation  
9 plan, but to employ them in a non-regulatory  
10 stakeholder driven forum that would, we hoped,  
11 combine the analytical rigor and the data driven  
12 methodology and transparency that we were able to  
13 achieve in, for example, the DRECP. But to work in  
14 a collaborative non-regulatory quick timeframe to  
15 have stakeholders with agency technical support put  
16 together and document their own positions on things  
17 from where they think the San Joaquin Valley  
18 renewable energy is most appropriate; where they  
19 think in the San Joaquin Valley conflicts with  
20 environmental or agricultural or other land uses are  
21 most difficult to resolve or easier to resolve.

22           And the net result of that process really  
23 culminated in the report. All of the work that was  
24 done was documented so that the work doesn't end  
25 with the report; you can actually go in and access

1 the data. You can reassemble the data and you can  
2 understand exactly why it looks the way it looks.  
3 You can ask different questions and answer them with  
4 the underlying data, and you can put in your own  
5 data and see it against your own data. And so it's  
6 very much a living and breathing platform that was  
7 built in this collaborative way.

8 I want to thank some of our staff who  
9 contributed expertise and time to those efforts;  
10 Scott Flint, Jim Bartridge, Tom Gates on helping  
11 support tribal outreach and consultation. With that  
12 effort I think it will be an important contribution  
13 to the RET-I2 process as that moves forward.

14 In any case, if anyone's interested in  
15 getting the report, it's available on the web. I  
16 probably should be able to rattle off the URL; I  
17 can't, but I'm sure that just a little bit of  
18 searching and you'll have no trouble finding it.

19 CHAIR WEISENMILLER: Great. I was just  
20 going to say I remember after the battery charger  
21 adoption going back with PG&E and DOE arguing about  
22 how they shouldn't preempt us. So it's nice to have  
23 gone from the threat of preemption to under the  
24 current Secretary of Energy a very supportive role  
25 forward is good.

1           So I actually have a lot of ground to  
2 cover; I'll do it briefly.

3           First, obviously on Cinco de Mayo was a  
4 good event for basically focusing on the Latino  
5 contribution to California. And so Senator Hueso  
6 had a special committee meeting on the border  
7 issues. I testified at that hearing on what we've  
8 done to sort of build off of that.

9           Again, the Governor and I went to both  
10 China and Mexico, so in Mexico we have an MOU and so  
11 I covered what we've done in the last year or so on  
12 the MOU.

13           Obviously I gave a lot of credit to Emilio,  
14 my adviser on Mexican issues, for helping to really  
15 move that along. And as I noted earlier that we  
16 have a delegation in Mexico at this moment, in fact,  
17 trying to build off of stuff. That was one day.

18           The Consul General in Sacramento also had a  
19 major reception, again to celebrate.

20           Then there was a meeting between the  
21 Governor and myself with the Foreign Minister of  
22 Mexico and the Mexican ambassador to the U.S. who  
23 used to be the consul general in Los Angeles and, I  
24 would say new consul general in Sacramento.

25           Obviously, the Trump issues are

1 reverberating throughout our relationships with  
2 Mexico, and again, it was a very cordial meeting  
3 that we had with them. And the Governor pointed out  
4 and said if Trump gets elected we'll actually build  
5 a wall between California and the U.S., which  
6 certainly deepened our relationship with the Mexican  
7 Government.

8           So anyway, it was a good meeting, a lot of  
9 substance. They're very interested in ways we can  
10 work together on energy issues.

11           One of the more interesting ones is Mexico  
12 has done a recent solicitation on renewables, and  
13 the average price is 4.7 for the portfolio. The  
14 lowest is like 3.7 per kilowatt hour for solar. So  
15 I had that.

16           I also had two workshops. Commissioner  
17 Douglas was with me on both of those.

18           One was on RETI 2.0 with President Picker  
19 and myself and obviously the Bureau and the Cal ISO.  
20 We got a pretty good progress report from Brian  
21 Turner.

22           I think the message -- I don't know. I  
23 remember a long time ago everyone was like was there  
24 enough renewables to meet our targets? And as we go  
25 forward between solicitation and planning it's

1 always like there are a lot more than we need. And  
2 if anything, the issue is what's the environmentally  
3 responsible way to do a portfolio as opposed to, my  
4 God, we have to do that last acre regardless of the  
5 consequences.

6 But again, in Brian's presentation there's  
7 an awful lot of potential, so there's a chance to be  
8 smart on the environmental side. There's also a  
9 chance to be smart on trying to get a mixed  
10 portfolio of technologies. And I think at this  
11 point we're all positioned for the next process  
12 there.

13 Also I had a meeting, the Governor and I  
14 had an event on regional governors issues with the  
15 ISO, as it's being transformed. I think all of us  
16 have probably been to those dreary conferences where  
17 people talk about how the renewable revolution is  
18 transforming the utility sector and blah-blah-blah.  
19 And you always scratch your head and say what about  
20 the regulators, when are we going to get transformed  
21 once we realize it's a different world.

22 And the ISO is being transformed from a  
23 California specific into a regional organization, so  
24 probably the key issue (indiscernible) is  
25 governance, and it's at least started a public

1 dialog there.

2 Commissioner Florio had an interesting  
3 paper. There were interesting papers by the Public  
4 Service Commissioner from the northwest, Energy  
5 Foundation Ron Binz almost became First Chair. We  
6 were debating how to address him as the Almost Chair  
7 and he didn't get the title, but anyway, a lot of  
8 interesting stuff there. Comments are coming in.

9 We're working through the next steps. Some  
10 of this was very California-centric and expect the  
11 dialog to deepen throughout the west going forward.

12 And then as part of my deep dive into  
13 market issues, I did a tour of Europe with Steve  
14 Berberich, Executive Director of the Cal ISO, Petar,  
15 who is a real IT brains of the operation, and the  
16 administrator of Bonneville Power Administration.

17 And so we went to, in different  
18 combinations, but we went to a Swiss Grid, which is  
19 sort of the crossroad for power into Italy, the  
20 bottom line. It's remarkable, they have like 800  
21 distribution companies in Switzerland. Think about  
22 it for a second. Yeah.

23 COMMISSIONER MCALLISTER: Market structure,  
24 are those publicly owned, are those private?

25 CHAIR WEISENMILLER: Well, it's a little

1 (inaudible).

2 COMMISSIONER MCALLISTER: Municipal?

3 CHAIR WEISENMILLER: Yeah, yeah. Again, I  
4 didn't get the full spectrum. So far I know there's  
5 some investor owned for Zurich or something, but the  
6 little villages all have their own little co-ops or  
7 whatever. But this is sort of the grid operator.  
8 You look out from the office there's this huge  
9 combination of power lines coming in from over the  
10 border. But again, I think everyone goes through  
11 Switzerland to get somewhere.

12 It's interesting because then we went to  
13 Berlin to look at the German situation, then we went  
14 to Oslo to look at the Nordic situation. And  
15 obviously Germany is the middle of the EU while  
16 Switzerland is not, nor are the Nordics. But it's  
17 very interesting how in spite of the political  
18 differences how it's really a very integrated  
19 market.

20 So as we think about integrating the west,  
21 it's remarkable how Europe has integrated their  
22 markets from whatever, including the Nordic markets  
23 which are really Norway, Sweden, Denmark, Finland,  
24 one big market pool -- incredible hydro system. But  
25 anyway, interesting how they organized that.

137

1           And in Germany it was a good day to be  
2 there in that they are actually launching serious  
3 efforts on energy efficiency, and so they have the  
4 equivalent of 758 since obviously there's not a lot  
5 of new construction necessarily, a lot of existing  
6 buildings. And they launched a big media campaign  
7 last Thursday.

8           When I asked them how much they said they  
9 couldn't tell me what the cost was but it was huge,  
10 so they have to figure out precisely what. And they  
11 were going to send links to the media efforts there,  
12 but they're trying to get much more serious on  
13 energy efficiency. The market, they've had the  
14 structural issues. In fact, their biggest renewable  
15 day was the day before we met with them.

16           But actually when you think of a duck curve  
17 in California's situation it's sort of when it's in  
18 Germany you go, oh my god, we thought we had it bad,  
19 where in the summer it's sunlight from like 5:00  
20 a.m. to 10:00 or 11:00, and so they have more solar  
21 and wind than they have load, actually very close to  
22 more.

23           And then when you look at the load curve  
24 for the winter day, which is when the peak is.  
25 There's like little to no solar, not much wind, and

1 so you go from over-generation phenomenally in the  
2 summer or solstice period to nothing from  
3 renewables, or very little during your peak period.  
4 And so they trying to keep things alive to deal with  
5 the peak or deal with the market switching as they  
6 go forward -- running in phenomenal cost now on  
7 over-gen issues.

8           And since they're not well connected  
9 physically, they have phenomenal amounts of over-gen  
10 in the north, which they can't get south, so they're  
11 shipping it off to Norway at whatever Norway wants.  
12 They're then pulling in generation in the south to  
13 meet their load, so it's like wow, bottom line.

14           And then they have coal plants as reserves.

15           COMMISSIONER MCALLISTER: Are they doing a  
16 RETI equivalent to try to solve the transmission  
17 issues of north/south?

18           CHAIR WEISENMILLER: Actually, we had a  
19 very interesting conversation about for 50 hertz,  
20 which is the old East German system, how they are  
21 trying to do a very public planning process on  
22 transmission, just continual meetings; having said  
23 that, it takes them at least ten years.

24           There were states like Bavaria who have  
25 said no, it's not coming across us to the load

1 centers, and so transmission is not easy and it's  
2 not any easier in Germany than it is here, bottom  
3 line. In fact, that's why historically they've had  
4 just one price node or zone from northern Germany  
5 through Austria that now they have to separate into  
6 north and south. The EU is forcing them, which is a  
7 big step for them to go from a single price  
8 throughout everything to presumably a low price in  
9 the north, a high price in the south.

10 Then also that will make much clearer some  
11 of the economic dislocations. They do a ton of  
12 manual re-dispatch in the south to deal with power  
13 loads, as I said, while they're shipping power north  
14 into Norway for the renewables.

15 Anyway, as I said Norway, you just go there  
16 and they have a huge hydro system. They act as the  
17 battery. They're now doing transmission lines to the  
18 UK and another line from Germany to Sweden, so  
19 they've figured out the money comes from trans --  
20 well, the grid operator there is happy, because they  
21 build transmission -- put it in a rate base, and the  
22 hydro folks get a higher price by doing these  
23 interconnections. So again, they're not as happy  
24 but happy.

25 COMMISSIONER MCALLISTER: Got a big battery

140

1 basically, and they can play the market a little  
2 bit.

3 CHAIR WEISENMILLER: It's huge. Yes, huge,  
4 huge battery. A lot of storage capacity.

5 COMMISSIONER MCALLISTER: Was there much  
6 talk in Germany about the equity implications of  
7 some of this, the north/south split and pricing?

8 CHAIR WEISENMILLER: Well, I know  
9 historically they refuse to do that because of the  
10 equity and the political issues of just one price  
11 throughout. But as I said, the good or bad news of  
12 being part of the European Union is at some point  
13 the regulator can step in and tell you to do  
14 politically unpopular things, although they  
15 certainly have a lot of back-and-forth on what  
16 Germany's doing and typically the regulator is fine  
17 with it.

18 But as with here, the German power market  
19 prices are affecting everyone else in Europe. For  
20 example, the Nord's have a pump storage project in  
21 Germany. Well, at this point the prices can be  
22 pretty much zero on peak and pretty much zero off  
23 peak, so the spread for pump storage is not good as  
24 they try to figure out what to do next on how to  
25 keep that alive.

1           But anyway, that was interesting on that  
2 part just to really understand much better how the  
3 specific markets work in Europe and how they  
4 integrate together both politically and  
5 economically.

6           And then on Aliso, I've sent out letters to  
7 many of the state agencies in the L.A. footprint  
8 asking them to really step up on demand response  
9 energy efficiency and other preferred technologies  
10 for down in the summer. The letters have been  
11 docketed; some of the responses will be docketed. We  
12 got a good response from the Department of  
13 Corrections on their programs.

14           Anyway, I think that's about it for now. So  
15 let's go on to Chief Counsel Report.

16           MS. VACCARO: Nothing today.

17           CHAIR WEISENMILLER: Thank you. Executive  
18 Director Report.

19           MR. OGLESBY: Very briefly, I was absent  
20 for the first part of this meeting because I was  
21 testifying in the Senate on our budget. It's still  
22 budget season, there's a ways to go. And overall,  
23 our budget is doing well I'll do a briefing after it  
24 passes and it's all said and done.

25           Last week I did a swing in the Southern

1 California region to help do outreach on where we  
2 are on Aliso Canyon. I had a number of cities and  
3 presentations to both public and private sector  
4 folks basically stressing the findings of the  
5 technical advisory group and the action plan and the  
6 mitigation measures that are recommended for  
7 reliability for the summer.

8 I included a Long Beach meeting with the  
9 City and the Oil and Gas Division; met with the  
10 South Coast Air Quality Management District that's  
11 working with LADWP, and Universal Studios, which has  
12 a large stake in reliability both for their own  
13 facilities, their communications network and their  
14 theme park, which can have 33,000 people at any  
15 given time as it operates.

16 The week was culminated with a workshop  
17 convened in Northridge by Senator Pavley that  
18 included all the utilities regionally down there,  
19 including SCPA and LADWP Balancing Authority, as  
20 well as PG&E from the north and the gas company. We  
21 discussed both the status of reliability issues as a  
22 result of Aliso as well as measures needed going  
23 forward to improve reliability given the loss of  
24 that resource in the near term.

25 That's all I have.

1 CHAIR WEISENMILLER: Great.

2 Public Adviser Report?

3 MS. MATTHEWS: Briefly, the Summer  
4 Institute in Energy Law And Policies cosponsored by  
5 Commissioner Scott and myself received grant  
6 funding, so on May 3rd, the big day, I was presented  
7 with a check for a little over \$3,000 that will  
8 cover the cost of transportation, two full-time  
9 teachers, and lunches for the students who will be  
10 able to participate, and they also had match funding  
11 from the Elk Grove Unified School District that will  
12 also allay the cost and allow the students to get a  
13 stipend so they can get paid for participating in  
14 the program.

15 CHAIR WEISENMILLER: And the Diversity  
16 Fair?

17 MS. MATTHEWS: Yes, on April 29th we were  
18 able to host our first diversity career fair at the  
19 Energy Commission. And I want to thank all of the  
20 staff members and divisions who had a table out. It  
21 was very successful. I've received a lot of  
22 feedback.

23 We also had training sessions to let  
24 participants know how to get a state job and as well  
25 as give interviewing tips, so that was a great

1 success.

2 CHAIR WEISENMILLER: Great. So let's go on  
3 to public comment? I believe we have one.

4 Yes, come on up.

5 MR. MCLAUGHLIN: Good afternoon. My name  
6 is Larry McLaughlin. I serve as the Regional  
7 Director for the Advanced Transportation Renewable  
8 Energy Sector in the Inland Empire Desert Region  
9 under the California Community Colleges Doing What  
10 Matters Initiative.

11 And the project we're here today to inform  
12 you of is the curriculum being developed on energy  
13 storage. We're currently putting together the  
14 materials, PowerPoints, lesson plans and readings  
15 for community college faculty to use in their  
16 programs to provide students with an introductory  
17 level education on energy storage technologies. It  
18 will inform students of applications, benefits and  
19 economics of energy storage.

20 And these curriculum resources will also  
21 include how storage effectively enables a variety of  
22 micro-grid scenarios and how the cars we drive may  
23 become part of the solution to capturing and using  
24 large amounts of renewable energy.

25 These curriculum resources are designed to

145

1 introduce small size solar integrators as well, like  
2 small company owners, managers, and staff to  
3 electric energy storage through workshops and  
4 community education, because we believe that these  
5 companies will become the primary marketing outlet  
6 for the residential market.

7           The energy storage curriculum is almost  
8 complete. We'll soon convene an industry review  
9 panel to go through these materials and make sure  
10 that we are technically accurate and they comply  
11 with industry safety. Our challenge, however, is  
12 the handing off of these materials and the teaching  
13 methods to community college faculty. California is  
14 a big state, we have a lot of faculty members  
15 teaching electrical, building, and transportation  
16 related programs.

17           Our first task will be to train these  
18 trainers, to bring faculty together in regional  
19 workshops to train them in the content and the use  
20 of the materials. Then assistance from the industry  
21 will be needed to give instructors some of the  
22 necessary hands-on resources. Our approach is to  
23 ensure that tomorrow's workforce understands the  
24 underlying concepts as well as the how-to skills  
25 required to make clean energy work. We need to

1 teach our students how to think about these things.

2           Imagine using our cars as a load source  
3 that enables us to generate higher levels of  
4 renewable energy; that's a great concept, and it's  
5 the kind of thing that gets our students excited.

6           The students that we teach with this  
7 program today will be the installers and the  
8 maintainers of our energy storage units and EV  
9 charging stations, and they'll also be tomorrow's  
10 managers and decision makers. They'll become the  
11 contractors, the foremen, the designers, the  
12 inspectors, the planners. These will be decision  
13 makers and hands-on implementers of tomorrow. So  
14 we're setting out to not only teach our students the  
15 technical skills but also how to think about these  
16 potential solutions.

17           Thank you for the opportunity to tell you  
18 about our plans for incorporating energy storage  
19 into the community college curriculum. We're about  
20 95 percent complete and very soon we'll have a link  
21 that will allow you to go and review the materials.

22           And if you're really interested, we would  
23 be more than happy to provide a beta test type  
24 workshop for the Commission or for your staff.

25 Thank you.

1 CHAIR WEISENMILLER: Thank you. Thanks for  
2 being here. Any other public comment?

3 (No audible response.)

4 Then this meeting is adjourned.

5 (Adjourned at 12:48 P.M.)

6 --o0o--

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 6th day of April, 2016.



---


PETER PETTY  
CER\*\*D-493  
Notary Public

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 1st day of June, 2016.



---

Myra Severtson  
Certified Transcriber  
AAERT No. CET\*\*D-852