

DOCKETED

Docket Number:	16-IEPR-04
Project Title:	Climate Adaptation and Resiliency
TN #:	212477
Document Title:	Transcript of the 06/21/2016 Joint IEPR Workshop on Climate Adaptation and Resiliency for the Energy Sector
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	7/27/2016 1:52:21 PM
Docketed Date:	7/27/2016

BEFORE THE
CALIFORNIA NATURAL RESOURCES AGENCY
CALIFORNIA ENERGY COMMISSION

In the matter of,)
) Docket No. 16-IEPR-04
)
2016 Integrated Energy Policy)
Report (2016 IEPR UPDATE))

**JOINT IEPR WORKSHOP ON
CLIMATE ADAPTATION AND RESLIENCY FOR THE ENERGY SECTOR**

CALIFORNIA ENERGY COMMISSION
FIRST FLOOR, ART ROSENFELD HEARING ROOM
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

TUESDAY, JUNE 21, 2016

9:30 A.M.

Reported By:
Kent Odell

APPEARANCES

CEC Commissioners

Karen Douglas, Lead Commissioner, California Energy Commission

CEC Staff Present

Heather Raitt, IEPR Program Manager

Kevin Barker, Adviser to Chair Weisenmiller

Presenters/Panel Members Present

Liane M. Randolph, Commissioner, California Public Utilities Commission

Ken Alex, Senior Policy Advisor to Governor Brown and the Director of the Office of Planning and Research

Kevin Hunting, Chief Deputy Director, California Department of Fish and Wildlife

JR DeLaRosa, Special Assistant for Climate Change, California Natural Resources Agency

Christine Curry, Deputy Director for Planning, Preparedness, and Prevention, California Governor's Office of Emergency Services

Dr. Leslie Ewing, Senior Coastal Engineer, California Coastal Commission

Deborah Halberstadt, Deputy Secretary for Ocean and Coastal Matters, California Natural Resources Agency

Kristin Ralff-Douglas, Senior Policy Analyst, California Public Utilities Commission

Guido Franco, Team Lead on Climate and Environmental Research, California Energy Commission

Dr. Louise Bedsworth, Deputy Director, Governor's Office of Planning and Research

Dr. Susan Fischer Wilhelm, Research Lead on Climate Change, California Energy Commission

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

APPEARANCES (CONT.)

Presenters/Panel Members Present (Cont.)

Dr. Patrick Barnard, Coastal Geologist, US Geological Survey

Dr. James Strittholt, President/Executive Director, Conservation Biology Institute

Daniel Cayan, Director of the Climate Research Division, Scripps Institution of Oceanography

Katharine Reich, Associate Director, UCLA Center for Climate Change Solutions, Institute of the Environment and Sustainability

Dr. Susanne Moser, Social Science Research Fellow, Woods Institute for the Environment at Stanford University

Larry Greene, Vice Chair, Alliance of Regional Collaboratives for Climate Adaptation

Neil Millar, Executive Director of Infrastructure Development, California Independent System Operator

Whitney Albright, Climate Science Lead, California Department of Fish and Wildlife

David Fink, Policy Director, Climate Resolve

Peter Gleick, President, Pacific Institute

Dr. Craig Zamuda, Senior Policy Advisor, Climate Resilience Partnership, U.S. Department of Energy

Nancy Sutley, Chief Sustainability and Economic Development Officer, Los Angeles Department of Water and Power

Tim Tutt, Government Affairs Representative Sacramento Municipal Utility District

Scott Tomashefsky, Regulatory Affairs Manager, Northern California Power Agency

Barry Anderson, Vice President, Electric Distribution, Pacific Gas and Electric Company

APPEARANCES (CONT.)

Presenters/Panel Members Present (Cont.)

Adam Smith, Program Manager for Climate and Air Policy,
Southern California Edison

Brian D'Agostino, Meteorology Program Manager, San Diego
Gas & Electric

Public Comment

Meghan Harwood, Natel

INDEX

	Page
Welcome and Introductions - Heather Raitt	9
Karen Douglas, Lead Commissioner, California Energy Commission	10
Liane M. Randolph, Commissioner, California Public Utilities Commission	14
Ken Alex, Senior Policy Advisor to Governor Brown and the Director of the Office of Planning and Research	12
Kevin Hunting, Chief Deputy Director, California Department of Fish and Wildlife	17
JR DeLaRosa, Special Assistant for Climate Change, California Natural Resources Agency	15
Kevin Barker, Adviser to Chair Weisenmiller, California Energy Commission	22
Statewide Approaches to Climate Adaptation in the Energy Sector	
<i>Recent California Adaptation Laws and Executive Orders: Implications to the Energy System</i>	
Dr. Louise Bedsworth, Deputy Director, Governor's Office of Planning and Research	23
<i>CPUC/CEC Adaptation Working Group</i>	
Guido Franco, Team Lead for Climate and Environmental Research, California Energy Commission	72
Kristin Ralff-Douglass, Senior Policy Analyst, California Public Utilities Commission	66
<i>State of California Sea-Level Rise Guidance Document</i>	
Deborah Halberstadt, Deputy Secretary for Ocean and Coastal Matters, California Natural Resources Agency	32
<i>Introduction to the California Coastal Commission's Adopted Sea Level Rise Policy Guidance</i>	
Dr. Lesley Ewing, Senior Coastal Engineer, California Coastal Commission	40

INDEX

	Page
<i>Building Resiliency for All Hazards</i>	
Christina Curry, Deputy Director for Planning, Preparedness, and Prevention, California Governor's Office of Emergency Services	53
Examples of Available Tools for Climate Vulnerability Assessment of the Energy Sector	
<i>Cal-Adapt</i>	
Dr. Susan Fischer Wilhelm, Research Lead on Climate Change, California Energy Commission	83
<i>CoSMoS</i>	
Dr. Patrick Barnard, Coastal Geologist, US Geological Survey	91
<i>Climate Console</i>	
Dr. James Strittholt, President, Executive Director, Conservation Biology Institute	100
Lunch Break	
Selecting Climate Scenarios for the Energy System	
Moderator and Staff Presentation: Guido Franco	114
<i>Proposed Climate Simulations for California and "Probabilistic" Sea Level Rise Scenarios</i>	
Dr. Daniel Cayan, Director of the Climate Research Division, Scripps Institution of Oceanography	116
<i>Climate Scenarios for California Using a Dynamic Regional Climate Model</i>	
Katharine Reich, Associate Director, UCLA Center for Climate Change Solutions, Institute of the Environment and Sustainability	128
Adaptation Efforts: A Practitioner Panel Discussion	
Framing Presentation	
<i>Linking Climate Scenarios to Planning and Decision Making</i>	
Dr. Susanne Moser, Social Science Research Fellow,	
CALIFORNIA REPORTING, LLC	
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417	

Woods Institute for the Environment at Stanford University 139

INDEX

Page

Practitioner Panel 1: Agencies and Stakeholders

Moderator: Dr. Louise Bedsworth

Larry Greene, Vice Chair, Alliance of Regional Collaboratives for Climate Adaptation 159

Neil Millar, Executive Director of Infrastructure Development, California Independent System Operator 167

Whitney Albright, Climate Science Lead, California Department of Fish and Wildlife 173

David Fink, Policy Director, Climate Resolve 180

Peter Gleick, President, Pacific Institute 186

Practitioner Panel 2: Publicly Owned and Investor Owned Utilities

Moderator and Framing Presentation

Climate Change Vulnerability Assessments by the IOUs: Summary of Recent Vulnerability Reports Submitted by the IOUs

Dr. Craig Zamuda, Senior Policy Advisor, Climate Resilience Partnership, U.S. Department of Energy 207

Nancy Sutley, Chief Sustainability and Economic Development Officer, Los Angeles Department of Water and Power 223

Tim Tutt, Government Affairs Representative, Sacramento Municipal Utility District 230

Scott Tomashefsky, Regulatory Affairs Manager, Northern California Power Agency 239

Barry Anderson, Vice President, Electric Distribution, Pacific Gas and Electric Company 249

Adam Smith, Program Manager for Climate and Air Policy Southern California Edison 254

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

Brian D'Agostino, Meteorology Program Manager,
San Diego Gas & Electric

264

INDEX

Page

Public Comment**283****Concluding Remarks****286**

Adjournment

286

Reporter's Certificate

287

Transcriber's Certificate

288

1

P R O C E E D I N G S

1
2 JUNE 21, 2016

9:30 A.M.

3 MS. RAITT: Good morning and thank you for
4 coming today. This is the Joint Agency Commissioner
5 Workshop on Climate Adaptation and Resiliency for the
6 Energy Sector. It's part of the 2016 Integrated Energy
7 Policy Report update process. I'm Heather Raitt, the
8 Program Manager for the IEPR.

9 I'll quickly go over some housekeeping items.
10 Restrooms are in the atrium. There's a snack bar on the
11 second floor, under the white awning.

12 If there's an emergency and we need to evacuate
13 the building, please follow staff diagonally to the
14 Roosevelt Park, outside the building.

15 Today's workshop is being recorded through our
16 WebEx conferencing system. So, parties should be aware
17 you're being recorded. We'll post an audio recording on
18 the Energy Commission's website in a few days and a
19 written transcript in about a month.

20 We do have a very full agenda today and we're
21 asking presenters to please limit your comments to the
22 time allotted. And I'll be reminding folks of our time
23 constraints as we go along.

24 At the end of the day we'll have an opportunity
25 for public comments and we'll limit comments to three

1 minutes per person. If you would like to make comments
2 at the end of the day, there are blue cards out by the
3 entrance. Please go ahead and fill those out and you
4 can give them to me.

5 For WebEx participants, we'll also be taking
6 comments at the end of the day and you can use the chat
7 function to tell our WebEx coordinator that you'd like
8 to comment. And we'll either relay your comment or open
9 your line at the appropriate time.

10 For phone-in-only participants, we'll take your
11 calls after WebEx and the folks in the room.

12 If you haven't already, please sign in at the
13 entrance to the hearing room. The materials for this
14 workshop are all available there and on our website.

15 Written comments are welcome and due on July
16 5th. And the process for submitting comments is in the
17 workshop notice.

18 And with that, I'll turn it over to Commissioner
19 Douglas for opening remarks. Thank you.

20 COMMISSIONER DOUGLAS: Hi, good morning,
21 everybody. I'm Commissioner Karen Douglas. I'm the
22 Lead on the Integrated Energy Policy Report this year
23 for the Energy Commission. I'd like to welcome you all
24 here.

25 We have, as Heather said, a packed agenda. And

1 we have some really great speakers, so I'd like to thank
2 all of our panelists in advance for being here, and for
3 participating today.

4 We've got a number of goals for today. We very
5 much want to go over the policy setting for climate
6 adaptation, which is advancing rapidly in California
7 with a lot of the work that is being spearheaded by OPR,
8 and the Governor's Office, and implementation of the
9 Governor's Executive Order. But that requires a very,
10 very high level of interagency coordination and
11 addressing cross-cutting issues.

12 We've brought a diversity of perspectives here
13 today, both on the dais with us, and among the speakers.
14 And we really hope this will be an opportunity for us to
15 learn from all the speakers, learn from each other, and
16 find innovative ways of moving forward and helping the
17 State adapt to and address the issues presented to us by
18 climate change.

19 Specifically, in the case of the Energy
20 Commission, in terms of the electricity system, the
21 energy system, and the natural systems that we are very
22 much connected to and dependent on in the workings of
23 our electricity system.

24 But as a State, broadly across the many areas
25 and many agencies that have to deal with this issue.

1 So with that, let me ask Ken Alex for opening
2 comments.

3 MR. ALEX: Good morning. Thank you,
4 Commissioner Douglas.

5 The Office of Planning and Research is now,
6 under SB 379 and SB 246, given some duties to deal with
7 adaptation and resilience.

8 As we know, California has operated under AB 32
9 for many years, now, and that focus has been primarily
10 on emission reduction. And the focus of the State of
11 California, until very recently, has also and
12 appropriately, I think, been primarily on emission
13 reduction. But inevitably, we are not going to
14 forestall and preclude all impacts from climate change.

15 And California, with 900 miles of coastline, and
16 snowpack at the temperature gradients, and 121 degrees
17 yesterday in Palm Springs, and all kinds of forest fires
18 and forest fire potential, and drought, et cetera, et
19 cetera, the inevitable consequence of all of this is
20 that we must pay greater attention to resilience and
21 adaptation. And we need to do so at all levels of
22 government and we need to integrate it into our decision
23 making. Certainly true as we think about our electrical
24 system.

25 Louise Bedsworth, the Deputy Director of OPR,

1 will talk a little bit in more detail later about OPR's
2 role. But just to give a preview, under SB 246, OPR is
3 given the task of creating the Integrated Climate
4 Adaptation and Resiliency Program, with a particular
5 focus on coordinating state, regional and local
6 responses. And that will have an emphasis under the law
7 on climate equity. So, we'll pay particular attention
8 to the most disadvantaged communities and some of their
9 particular challenges.

10 We'll be developing tools and guidance, with
11 State support, for local efforts in particular. And
12 ensure that State planning, moving forward, will reflect
13 adaptation and resilience issues. And that's a pretty
14 big undertaking to look at all of the actions,
15 particularly around infrastructure and planning that the
16 State goes through as part of its process, and try to
17 figure out the best places to integrate resilience and
18 adaptation.

19 We'll also be running a clearinghouse of
20 adaptation resources, which will be available to
21 agencies and the public.

22 And, finally, we'll have an advisory council of
23 experts providing scientific and technical support. And
24 a lot of this, as you'll hear in a minute, will be done
25 in conjunction with the safeguarding efforts run by the

1 Natural Resources Agency.

2 So, there's a lot going on. This IEPR process
3 is a great way to start some of the discussion,
4 particularly around the electrical and energy sector.
5 And I'm very pleased to be here and to hear some of our
6 speakers today.

7 COMMISSIONER DOUGLAS: Thank you, Ken.

8 Liane.

9 MS. RANDOLPH: Thank you, Commissioner Douglas,
10 and to all the staff and the folks at the Energy
11 Commission for putting together this workshop.

12 And I also wanted to thank Chairman
13 Weisenmiller, who expressed his regrets last week, when
14 I saw him, that he couldn't be here today, because this
15 is an issue near and dear to his heart. And he's been
16 working hard on this for a while. And so, I know he's
17 sort of, you know, with us in spirit.

18 Last summer we did a Public Utilities Commission
19 workshop on adaptation and it was a really informative
20 day. And since that time, we've been looking at what
21 the resources out there are on climate adaptation
22 issues. We've been working with our investor owned
23 utilities in gathering information from them about what
24 their resiliency and adaptation efforts are. And we're
25 eager to continue that work and dive more into detail.

1 So, with our rather impressive set of panels
2 today, I'm really interested in hearing more information
3 about how other agencies, and local agencies, and the
4 utilities around the State are dealing with adaptation.
5 And we are very eager to hear more information about the
6 tools for analysis, as we look at how we are going to
7 integrate adaptation issues into our proceeding process
8 at the PUC.

9 So, thank you again to Commissioner Douglas for
10 putting this together and I'm looking forward to the
11 day.

12 COMMISSIONER DOUGLAS: Yeah, thank you very
13 much. And it's really great that our Commissions are
14 working together so closely on many issues, including
15 this one.

16 JR, would you like to go next for Natural
17 Resources?

18 MR. DE LA ROSA: Yes. Hi, everyone, and thank
19 you. Thank you for being here. It shows the interest
20 in adaptation. I think Ken did a good job of
21 highlighting just kind of the framework and background.

22 But I'll add AB 1482, which was kind of part of
23 an adaptation package of bills that were passed last
24 year. They really provide a framework that is, you
25 know, attempting to mirror the robust framework for our

1 mitigation strategies. And so, we're complementing
2 that, now. And so, we have our climate actions, which
3 include mitigation and adaptation.

4 And AB 1482 establishes Natural Resources Agency
5 as the lead for Safeguarding California, which is the
6 State's kind of adaptation plan, if you will, or report
7 that really highlights, in ten key sectors, the types of
8 vulnerabilities and impacts that we are expecting from
9 climate change, as well as current actions. You know,
10 what departments, agencies and sectors are doing to
11 respond to these climate impacts.

12 I think there are a couple things, real quick,
13 to highlight, and Ken touched on this. But I think
14 there is a lot of momentum moving forward. Since the
15 release of our first adaptation strategy, which was
16 2009, you know, we've experienced five of the largest 20
17 forest fires ever recorded. We've experienced a very
18 severe drought. It seems like every year is a record
19 breaking year in terms of temperature increases. And,
20 you know, we're living in the reality, it's here.

21 And so, I applaud the Energy Commission's
22 leadership. They are a sector lead for the energy
23 sector in Safeguarding California. They are also a key
24 partner and player in helping us better integrate and
25 use climate science, and research. All of the previous,

1 the first, second and third assessments, as well as the
2 fourth assessment, which is ongoing right now.

3 And this really provides the framework for in a
4 way predicting the future. We're trying to get enough
5 information to better understand and predict what future
6 scenarios will look like so that we can come in and
7 fill, and address, you know, what we're going to respond
8 to. What our policy directions are going to be.

9 So, thank you very much. This is nice to be
10 here.

11 COMMISSIONER DOUGLAS: Well, thank you for being
12 here, JR.

13 And then, Kevin Hunting.

14 MR. HUNTING: Yeah, thanks, Karen. I'm Kevin
15 Hunting, Department of Fish and Wildlife. I want to
16 thank and applaud the Energy Commission for making this
17 the topic of this year's IEPR. And this couldn't be
18 more contemporary from our perspective, from a natural
19 resource, climate change adaptation perspective. So,
20 it's just great to be here and great to see this as the
21 primary topic.

22 I just want to build on a couple of things that
23 both Ken and JR said. You know, from my perspective,
24 our department's perspective, as the trustee agency for
25 fish and wildlife, and habitats in California, climate

1 change impacts are here. They're not a conceptual,
2 theoretical impact for our predecessors to deal with.
3 We're living it right now.

4 And I see it throughout our management and our
5 planning programs within the department, you know,
6 things are changing pretty rapidly.

7 We work very closely with the energy sector.
8 Obviously, the Desert Renewable Energy Conservation
9 Plan. We've been working on that, really shoulder to
10 shoulder with the Energy Commission for years. And I
11 think that's a great example of how you can integrate
12 climate change adaptation and resiliency for natural
13 resources, especially fish and wildlife, with the needs
14 for valid and important renewable energy development in
15 California.

16 You know, that said, that has been a point of
17 conflict and I think we've done a good job, with our
18 respective agencies, in managing that to the benefit of
19 both.

20 I want to just highlight a couple of things that
21 our department's working on. And this kind of relates
22 to what I hope we can see as an outcome for today.

23 You know, we're very focused right now on our
24 on-the-ground management practices for fish and wildlife
25 in California. Our department owns and manages about

1 1.2 million acres in California. And, you know, we're
2 already seeing of our management prescriptions kind of
3 changing in a response way, you know, just even in the
4 last few years.

5 The current drought that we've experience and
6 we're entering year five, pretty clearly now, of the
7 drought, has given us a glimpse into what a future
8 California for fish and wildlife might look like.

9 Fish rescues, provision of habitat features and
10 habitat values in areas where species don't yet occur,
11 but will in the future. Population declines in some
12 areas, population increases in other areas that were
13 difficult for us to predict, but that we're now seeing.

14 So, I mean, that was a bit of a specter for the
15 future, for us. And it gives us an opportunity to
16 really think about resiliency and how we address
17 resiliency looking forward in California.

18 So, just a couple of comments on some areas that
19 we're focused on right now. We recently released our
20 statewide action plan. That's California's blueprint
21 for fish and wildlife, and habitats statewide. It was
22 really built on climate change, the impact of climate
23 change adaptation to address those impacts. It was
24 highly focused on that.

25 The energy sector is one of the companion plans,

1 which are the focused implementation pieces of our State
2 Wildlife Action Plan that occurs, you ought to take a
3 look at that.

4 Another product that we recently released, that
5 we're already putting into practice is a statewide
6 assessment of terrestrial vegetation in California.
7 We've been lacking kind of some of the baseline
8 information we need against which to judge climate
9 change impacts and changes. And it's -- this
10 vulnerability assessment gives us, in conjunction with
11 the fourth assessment, with the other tools, the ability
12 to baseline and predict, in a more certain way, what the
13 future might look like for fish and wildlife, and
14 habitat in California.

15 So, this will be a cornerstone of future
16 planning. This will be a cornerstone of our management
17 planning, our land management plans, our future public
18 dollar investments in wildlife and habitat in
19 California. It's a very important piece and I'd
20 encourage you to take a look at that.

21 So I'm hoping, you know, obviously, this creates
22 a forum for a discussion and sharing ideas, which I
23 think is critical right now. It's the right forum for
24 doing that. And I'm hoping we can focus on, at the end
25 of the day, practical policy and practical processes

1 that we can implement in the near future and agree upon
2 that are important for the energy sector and for natural
3 resources in California. So, I look forward to the
4 discussion.

5 COMMISSIONER DOUGLAS: Well, thank you, Kevin.
6 And as you've said, we've worked really closely together
7 over the years. And I've learned a lot from that
8 interaction. And one of the things that I've observed
9 is that on the energy side there's actually a lot we can
10 learn from looking at how agencies with a natural
11 resources mission are dealing with climate change.

12 Because while we are all living it, some of us
13 are living it in more real time, and more intensively
14 than others. And certainly, when you're planning for
15 and trying to understand species across the landscape,
16 climate change is just fundamentally front and center.

17 So, it's been a great partnership. And we have,
18 actually, someone from the CDFW staff later today making
19 a presentation that we're looking forward to as well.

20 So, as Commissioner Randolph said earlier, the
21 Chair was not able to attend today and he was quite torn
22 about it, and he was very sorry to miss this workshop.
23 He was actively involved in working with my office on
24 preparing the workshop, on planning it, on talking about
25 topics we would cover. His advisers were very involved

1 and gave us quite a bit of help, and ideas, and
2 information as well, as we put this together.

3 Kevin Barker, the Chair's Adviser, is on the
4 dais with us today. And Kevin, do you have opening
5 comments?

6 MR. BARKER: Thanks, Commissioner. I've got a
7 brief statement from Chair Weisenmiller to read to you.

8 As the Commissioner said, he, unfortunately, got
9 called to stay a little bit later than he had
10 anticipated out in Denver, Chairing the Regional Grid
11 Workshops out there. So, another important topic as we
12 kind of move towards a more future-looking energy grid.

13 So, I'd like to first, I guess, thank everyone's
14 participation and Commissioner Douglas for hosting this
15 workshop.

16 So, climate adaptation is a very important
17 topic. And once again, he's sorry for missing the
18 workshop.

19 We know from the fourth climate assessment that
20 California is changing in many ways. It's getting
21 hotter, we know that from the recent heat wave. It's
22 getting drier, we know that from the recent drought that
23 we've experienced.

24 And we're experiencing worse winter storms, less
25 snowpack and a lot more.

1 We're also experiencing subsidence in the
2 Central Valley from groundwater pumping, as well as an
3 unprecedented tree die off from the drought, heat and
4 bark beetles.

5 Utilities have vast networks of infrastructure,
6 pipelines, transmission lines, distribution lines, water
7 conveyance systems and more. Billions are spent each
8 year expanding, maintaining and modernizing these
9 systems.

10 Investing in resilience and adaptation is
11 critical as well. Moving forward we must incorporate
12 both mitigation and adaptation into our policies and
13 planning.

14 So with that, that's the brief statement that he
15 wanted me to read, but let's kick it off to you,
16 Commissioner.

17 COMMISSIONER DOUGLAS: Thank you, Kevin.

18 All right. So, with that, I'll turn this over
19 to Heather.

20 MS. RAITT: Great. So, our first panel is on
21 Statewide Approaches to Climate Adaptation in the Energy
22 Sector.

23 And our first speaker today is Louise Bedsworth,
24 from the Governor's Office of Planning and Research.

25 DR. BEDSWORTH: Great. Well, thank you,

1 everyone, for inviting me here this morning. I'm going
2 to speak about some of the legislation that was touched
3 on in the introductory remarks and, also, Executive
4 Order B-3015, from which a lot of that legislation
5 stems.

6 And then I'll close with some thoughts on
7 implications, and what we can learn, and how we can help
8 and contribute to work in the energy sector.

9 I always just like to start with the reminder,
10 which I think JR touched on, as well, which is that our
11 adaptation and resilience work is very much a part of an
12 integrated climate strategy and tied to our efforts to
13 reduce emissions, and our investments in research. As
14 demonstrated through the fourth assessment, with a real
15 focus on supporting preparing for impacts.

16 And we have important documents in each of these
17 areas that really guides our work at the State level.
18 But they all work very closely together and I think,
19 increasingly, we're seeing the overlaps and the need to
20 integrate, and think holistically about our approach to
21 climate change.

22 In 2009, we had the first climate adaptation
23 strategy, with a real focus on the State. And I think
24 since that time there's been a really important
25 evolution and development at all levels. At the State,

1 at the regional, at the local level. So, we have a
2 really robust set of actions that are happening right
3 now. Where, at the State level we've really been
4 focused a lot on doing sector-based vulnerability
5 assessments, developing implementation action plans
6 through a directive from the Executive Order.

7 But at the same time, we have a growing network
8 of regional collaboratives that are focusing in
9 geographic areas on how we prepare for the impacts of
10 climate change. And a lot of this is supported, also,
11 by a number of quite local place-based initiatives and
12 increasing directives to incorporate climate change into
13 local plans. So, into general plans, local coastal
14 plans, et cetera.

15 And so, I think the framework of legislation and
16 the Executive Order reflects this much more integrated,
17 across-scale approach to thinking about climate
18 adaptation and resilience.

19 So, I'll start with Executive Order B-3015,
20 which was signed by Governor Brown in April of 2015.
21 And I think it was notable in a number of respects. And
22 one is on this integration of mitigation and adaptation.
23 This contained our directive to further reduce
24 greenhouse gas emissions for our 2030 target, and
25 combined that with a very comprehensive set of steps to

1 prepare for climate impacts. And I'll focus more on the
2 latter.

3 And so it laid out, really, a number of elements
4 focused on updating Safeguarding California regularly,
5 developing implementation action plans. So, to take
6 that document and turn it into a set of steps of how
7 we're going to implement it. And developing a tracking
8 mechanism so that the Natural Resources Agency can see
9 how we're doing, and be transparent, and report back on
10 the implementation.

11 It also included a statement that we should
12 start considering climate impacts in all of our planning
13 and investment. And that we should consider current and
14 future climate change in all of our infrastructure
15 investment and in the State's five-year infrastructure
16 plan. And in doing that, to use full lifecycle cost
17 accounting in the infrastructure investment decisions.

18 And so, it also had some specific call outs on
19 principles of adaptation that we really need to think
20 about. And this includes prioritizing natural and green
21 infrastructure, working with local and regional partners
22 in doing this work, and in protecting the most
23 vulnerable populations in California, and incorporating
24 equity into our work.

25 So, OPR was tasked with forming a technical

1 advisory group to assist State agencies in implementing
2 this Executive Order. And that has gotten underway in
3 the past several months.

4 And so this technical advisory group is really
5 trying to do two things. One is sort of help to provide
6 more guidance on what we should be planning for. But
7 touching on those specific call outs and principles of
8 adaptation, there's some important changes in how we
9 plan that need to happen as well. Which is how do we
10 plan under more uncertainty and how do we work in a
11 regime where we're coordinating a lot more across
12 agencies and across levels of government?

13 So, the technical advisory group includes over
14 50 members from inside and outside State government.
15 It's been -- it started with a bit of a core group of
16 about 40. A number of people have joined. We have a
17 network of sub-working groups that have brought
18 additional people in. So, it's been really exciting to
19 see the interest and the engagement we've had around it.

20 We have formed a number -- six sub-groups to
21 focus on some of these specific elements of the
22 Executive Order. So, really, to develop specific
23 guidance for State agencies on climate scenarios. So,
24 using our climate projections data, trying to help
25 provide guidance on what we should be planning for and

1 how to work under and interpret uncertainty. Provide
2 guidance there.

3 To develop metrics for tracking how we're doing.
4 So, what are the metrics that we should be thinking
5 about, linked to our implementation. Action plans for
6 safeguarding, but then thinking more generally about the
7 State's population and communities becoming more
8 resilient.

9 We have a group focused on communities, equity
10 and vulnerable populations. What are -- and what each
11 of these groups are really trying to do is develop a set
12 of principles that could work across State agency
13 planning and investment to address these issues. So,
14 thinking about principles, as well as tools.

15 We have a group focused on infrastructure,
16 including tackling the issue of full lifecycle cost
17 accounting, and how big is that box that we're drawing.
18 Is it a purely economic analysis or are we trying to
19 capture more externalities. And so, using this group to
20 really think about what's practical and how can we move
21 forward with that.

22 Very closely related, but a separate working
23 group, is also addressing natural and green
24 infrastructure. In both of these groups, we're trying
25 to provide definitions. What is infrastructure? What

1 do we currently think of as infrastructure? What do we
2 want to think about as infrastructure in the future?
3 What is natural and green infrastructure and how does
4 that work with our sort of traditional gray
5 infrastructure?

6 And then we have a group focused on local and
7 regional coordination. And all of this also sets up a
8 really nice framework and it's really intended to do
9 some foundational work for thinking about implementation
10 of the legislation from last year.

11 So, we're imagining our final product to come
12 out by the end of this calendar year, which would be a
13 type of a guidance or action plan for State agencies.
14 So, it's very much a first step to what we see as a
15 living document that can continue to evolve as we get
16 new science, as we have new information and
17 observations. And as we have this ongoing technical
18 advisory committee, through Senate Bill 246, that can
19 continue to work with this document. But this is sort
20 of a focused effort to put a number of elements down on
21 paper.

22 So, in looking at the legislation, a number --
23 all of these bills were touched on in the introductory
24 remarks. I think what's worth calling out is really
25 what they do is they focus on the State. They focus on

1 local and regional actions. And then they bring them
2 together.

3 So, Assembly Bill 1482 is focused on
4 safeguarding and it has elements on the five-year
5 infrastructure plan, so codifying those activities.

6 Senate Bill 379 incorporates climate change into
7 local general planning and local hazard mitigation
8 planning.

9 And then Senate Bill 246 creates a mechanism to
10 integrate this work at the local and regional level with
11 State agency actions through the Integrated Climate
12 Adaptation and Resilience Program.

13 It includes updates to the Adaptation Planning
14 Guide from -- by the California Office of Emergency
15 Services. And calls out for coordination via the
16 Climate Action Team. So, another opportunity to not
17 just integrate local and regional work, but to bring
18 this into a lot of our discussions around our mitigation
19 efforts, as well.

20 And so, finally, I'll just close with what I
21 think are some links and sort of implications for the
22 energy sector. And I think one is just having this
23 group sit down together and really think about what
24 should we be planning for, and how do we help provide
25 guidance within the range and the uncertainty that we're

1 looking at. And where do we need to be thinking, you
2 know, in the most protective senses? Where can we think
3 about apply different types of solutions, et cetera?

4 I think also, on considering climate change in
5 all of our planning and investment. And I think a few
6 things have emerged, particularly this week, as we've
7 been looking at the heat storm in the southwest. Which
8 is we've been very focused on the impacts that climate
9 change are going to have on our infrastructure, and
10 thinking about making sure our power plants aren't
11 underwater in 50 years.

12 But it's also really important to keep in mind
13 the role that infrastructure plays in supporting our
14 communities and providing community resilience.

15 So, in an instance with extreme heat, where
16 there's extreme strain on the energy system, that puts
17 vulnerable populations at risk under a heat event. And
18 so, I think that will be some important considerations
19 that will come out through this work.

20 And then, finally, really the work on how we
21 integrate local and regional considerations into our
22 planning and investment in a meaningful way, and work
23 across all levels of government. So, thank you.

24 MS. RAITT: Thank you, Louise.

25 So, our next -- sorry. Okay, you did it just in

1 time and now I can't turn this off.

2 Okay, so our next speaker is -- I don't think
3 she's here, yet, so if it's okay, we'll move on to the
4 third speaker. So, I'd like to invite Deborah
5 Halberstadt, from the California Natural Resources
6 Agency.

7 MS. HALBERSTADT: Thank you. I don't have a
8 Power Point, so I'm just going to sit here at the table.
9 Thank you very much for having me here today. I am the
10 Deputy Secretary of California Natural Resources Agency
11 for Coastal and Ocean Matters, and also the Executive
12 Director of the Ocean Protection Council.

13 And I've discovered, in my short time with the
14 OPC, that not many people know what it is. So, I'd like
15 to give you just a really quick snapshot of who we are.

16 The OPC's role is to protect California's coast
17 and ocean. And we take a sustainable ecosystem-based
18 approach to protecting, conserving, and restoring, and
19 managing the ocean and coastal resources.

20 We work very closely with California scientists
21 to enhance scientific understanding of the ocean and
22 coast. And we work on issues ranging from marine
23 protected areas, to ocean acidification, marine debris,
24 fisheries, sediments and, most importantly for today,
25 sea level rise.

1 One of our roles is to collaborate with our
2 sister agencies and departments across State government
3 and to convene interagency working groups on the wide
4 variety of topics affecting ocean health. And one such
5 group that we work with regularly is COCAT, the Coastal
6 and Ocean Climate Action Team.

7 The Ocean Protection Council members are the
8 Secretary of Natural Resources Agency, the Secretary of
9 CalEPA, the State Lands Commission Chair, which rotates
10 between Controller and Lieutenant Governor, and two
11 public members, as well as two ex officio members from
12 the Legislature.

13 So, in terms of what we are working on regarding
14 sea level rise, in 2011 the OPC Council adopted a
15 resolution on sea level rise, highlighting the urgency
16 of reducing greenhouse gas emissions as early as
17 possible in order to limit the damage from sea level
18 rise.

19 And the OPC resolution resolved that State
20 agencies and any non-State agencies -- or non-State
21 entities implementing projects or programs on State
22 property or funded by the State had to consider the
23 risks posed by sea level rise to those projects.

24 The OPC, at that time, also committed to
25 supporting regular guidance updates for State agencies

1 based on current scientific understanding.

2 The resolution recommended that State agencies
3 follow the science-based recommendations in the latest
4 version of the sea level rise guidance document. And
5 I'll be talking more in detail about that guidance
6 document.

7 It specifically recommended against relying
8 solely on the lower third of the range of sea level rise
9 values. And instead it suggested looking at potential
10 impacts and vulnerabilities over a range of sea level
11 rise projections, including the highest values. And it
12 recommended against -- or it recommended avoiding making
13 decisions based on sea level rise values that would
14 result in high risk to public health, safety,
15 infrastructure, et cetera.

16 So, as I noted, the OPC developed the State sea
17 level rise guidance document, in coordination with
18 COCAT, to summarize the status of science and to provide
19 recommendations to agencies in evaluating sea level
20 rise.

21 OPC's sea level rise guidance document provides
22 projections of sea level rise for different time periods
23 and provides recommendations for assessing potential
24 impacts from sea level rise. It was initially developed
25 in 2010 and it was last updated in 2013, after the

1 release of the National Research Council Report, which
2 was funded by OPC and the CEC.

3 Since then, Governor Brown, as you heard from
4 Louise and from Ken, issued Executive Order B-3015,
5 which further directs State governments to factor
6 climate change, including sea level rise, into State
7 agency planning and investment decisions.

8 In addition, as Louise discussed more in detail,
9 the Legislature passed AB 1482 and SB 246. And so, the
10 existing guidance document recommends taking into
11 account the feasibility of projects to adapt to rising
12 sea levels and the consequences for underestimating the
13 risk of flooding.

14 It includes a wide range of sea level rise for
15 various time frames, up until 2100. But importantly, it
16 includes this statement that I'm going to read verbatim.

17 So, it says: "It is important to note that the
18 National Research Council Report is based on numerical
19 climate models developed for the Intergovernmental Panel
20 on Climate Change, IPCC, for the assessment report,
21 which do not account for rapid changes in the behavior
22 of ice sheets and glaciers and, thus, likely
23 underestimates sea level rise".

24 So, since the release of the 2013 guidance
25 document, there have been observations and improved

1 modeling of ice melt dynamics that are pointing to an
2 increased likelihood of faster ice melt scenarios.

3 OPC is collaborating with OPR in developing a
4 new update to the State sea level rise guidance document
5 to reflect this evolving science and to give guidance on
6 how to plan for sea level rise under this new scenario.

7 We're also working very closely with OPR in
8 updating the guidance document to make it relevant to
9 local governments, given the recent mandate.

10 So, we used to talk about sea level rise in
11 centimeters, and then inches, and then feet, and now
12 meters. And you'll hear later today from Dan Cayan
13 about the results of one method that he's been working
14 on for estimating the probabilities of sea level rise.

15 Unfortunately, because we can't look into the
16 future, we can't know the true probability distribution.
17 And we are hearing from ice melt scientists that there
18 is deep uncertainty about how fast the ice sheets will
19 melt. Since we don't have high confidence in the
20 ability to develop these precise probability
21 distributions, we recommend putting additional weight on
22 the possibility of a worst case scenario.

23 We've heard from sea level rise expert, Bob
24 Kopp. In his testimony for the National Climate
25 Assessment in March he said, "We don't know the true

1 probability distribution. If you don't have confidence,
2 maybe you also want to consider putting additional
3 weight on the possibility of a worst case scenario. If
4 you think there's a 90 percent chance that experts know
5 what they're doing, then maybe there's a 10 percent
6 chance that the probability that we could be in is bad
7 as the worst case scenario".

8 So, we are working closely -- we are part of the
9 Policy Advisory Committee for Dan Cayan's research
10 project. We're working closely with him and we'll
11 continue to engage the Technical Advisory Committee for
12 this project to develop scenarios for assessing sea
13 level rise in a way that addresses uncertainty, presents
14 information in an actionable framework.

15 We're also looking at -- in that context,
16 looking at the use of scenario-based planning and using
17 adaptation pathways to conduct management with the
18 chancing shoreline.

19 So, decisions for infrastructure near
20 shorelines, as the CEC and the CPUC will be making soon,
21 will require ongoing monitoring and adaptive management.

22 Part of conducting adaptive management is
23 building into the framework accountability to ensure
24 ongoing delivery of critical services. So, questions
25 that you might want to consider would be at what level

1 of flood or erosion do you want a facility to come back
2 with a plan on how to adapt?

3 Will you need to protect in place or will you
4 move to a safer location?

5 How much time do you need to evaluate options,
6 to raise money, to obtain regulatory approval for the
7 next phase of the project to be more resilient.

8 And it's prudent to conduct planning
9 investments, knowing that we're in a new world with
10 changing shorelines.

11 Scientists tell us that based on the emissions
12 in the atmosphere, we are now committed to multiple
13 meters of sea level rise. We are locked in. And the
14 big question is how fast the sea ice is going to melt.

15 We're shifting into a framework of asking how
16 long do we have to solve a difficult problem. And this
17 is something that Susie Moser is going to be talking
18 about in far more detail. That's her framing of the
19 question and you'll hear more from her this afternoon.
20 But I think it's a really helpful way of thinking about
21 the issue.

22 So, in addition to thinking just about sea level
23 rise and siting infrastructure, such as energy
24 facilities, you're going to also have to take into
25 account vulnerability to storms and extreme events like

1 tsunamis. So, you need to consider not only the sea
2 level rise zones, but also exposure to flooding from
3 extreme events.

4 Moving now to safeguarding, as Executive
5 Director for the OPC, I am the ocean and coastal lead
6 for the Safeguarding Plan. And there is -- I think that
7 the number one recommendation in the 2014 document,
8 related to oceans and coasts, is hazard avoidance for
9 new development.

10 And so that language is quite long and I have it
11 all written here. So, JR had asked me to get this into
12 the record. So, do you mind if I just recite or do you
13 want me to just summarize it?

14 COMMISSIONER DOUGLAS: You could just -- we'll
15 take note of it or you could put it in, in writing.

16 MS. HALBERSTADT: Oh, we'll send it separately,
17 okay.

18 COMMISSIONER DOUGLAS: Thank you.

19 MS. HALBERSTADT: Yeah. So, just hazard
20 avoidance is the key there.

21 We're also working on implementing AB 2516,
22 which is the Sea Level Rise Planning database. And so
23 for that, we've surveyed certain entities, including
24 several utilities. We had 14 of the 15 utilities who
25 surveyed responded. And of those, nine said they had no

1 information to report as to what they're doing on sea
2 level rise planning, and five had some information.

3 So, that is about it. We will continue to
4 provide science to inform State agency action and we
5 look forward to continuing to work with the CEC to
6 develop informed actions to increase resiliency to sea
7 level rise. Thank you.

8 COMMISSIONER DOUGLAS: Thank you, Deborah. That
9 was very helpful. And as you pointed out, the question
10 of how to assess potential sea level rise in
11 infrastructure and especially coastal power plant
12 licensing proceedings is something that is far from
13 theoretical right now. So, this is really helpful
14 policy background to get on the table in a forum like
15 this one.

16 So, Heather, go ahead.

17 MS. RAITT: Okay, great. So, thank you,
18 Deborah.

19 Our next speaker is Dr. Lesley Ewing from the
20 California Coastal Commission.

21 DR. EWING: So, good morning, Commissioner
22 Douglas and others, members of the public here. Thank
23 you so much for inviting me to come here today. I'm
24 here on behalf of the Sea Level Rise Team at the Coastal
25 Commission, and also Commission staff.

1 And we have been very involved with the issues
2 of sea level rise now for many years. I started at the
3 Commission in 1989 and my initial assignment was to do a
4 guidance document on sea level rise. So you can tell,
5 it's been a multi-decadal process for us, as well.

6 I will give you a brief presentation on what the
7 Coastal Commission does, something about the Coastal
8 Act. Why California's concerned about sea level rise,
9 specifically the Commission. What we've done with our
10 guidance that was recently adopted back in August.
11 Steps within that guidance document to deal with
12 planning and permitting.

13 Then examples of some of the things we're doing
14 with adaptation and some of our next steps.

15 The mission of the California Coastal Commission
16 is to protect the coast for present and future
17 generations through careful planning and regulation of
18 environmentally sustainable development, strong public
19 participation and education, and effective
20 intergovernmental coordination.

21 So, this meeting today is one of those examples
22 of trying to look at intergovernmental coordination. I
23 appreciate being here.

24 The Coastal Commission derives its authority
25 from the Coastal Act. It was a public act, passed

1 through proposition in 1972, Prop. 20, and then enacted
2 into law in 1986 -- 1976, excuse me. The three
3 components of the Coastal Act call for authority to
4 govern or to review -- not govern, sorry -- grant
5 coastal development permits, look at federal
6 consistency, look at local coastal programs, and to then
7 have partnerships and working groups to look at how to
8 protect the coast.

9 The idea of federal consistency is a very
10 powerful one. Because when the State developed a
11 coastal program, it enabled the State to look at federal
12 projects for consistency with our coastal program. That
13 doesn't mean we have approval, but we have consistency
14 review and can deem federal projects either consistent
15 or non-consistent with the Coastal Act. We can object
16 or find them consistent.

17 So, it gives the authority to look at many
18 coastal activities that are beyond, often, just State
19 and public activities, and private activities, but also
20 into the federal agency activities.

21 And then we have a strong partnership with local
22 governments. The local coastal programs were set up so
23 that there would be a partnership between the State
24 agency, the Coastal Commission, and local governments to
25 coordinate on how to protect the coastal zone. And

1 local governments have the authority to develop their
2 land use plans, ordinances, which become part of the
3 local coastal program that are their way of implementing
4 the Coastal Act at the local level. And they have the
5 permitting authority for most of the projects that go on
6 within the coastal zone.

7 Now, 86 percent of the communities within the
8 coast have developed local coastal programs. Many of
9 those were done back in the 1980s. We're now working
10 with those local governments to update those because
11 they didn't include issues like sea level rise, often,
12 or include them as much as they needed to be included.

13 So, we've had several grant programs. We're on
14 our third round of grants to help local governments fund
15 and develop those updates to the local coastal programs.

16 In general, the Coastal Act has policies that
17 address public access, protection and enhancement of
18 marine resources, issues developing the land resources,
19 water-oriented recreation, access to the beach, access
20 to the coast, development in general and the protection
21 of scenic and visual qualities within communities.

22 The coast has been and will remain a really
23 vital part of the California economy and our way of
24 life. It provides us recreation, housing, energy
25 facilities, industry, transportation. It's a many-

1 faceted area and one that we need to deal with in many
2 different ways.

3 But as several of you have already said, climate
4 change is happening. And many of the concerns
5 associated with climate change and sea level rise along
6 the coast, erosion, permanent inundation, and temporary
7 flooding are occurring, have been occurring, and will
8 continue to occur. With sea level rise they will be
9 worsened in most cases. But it's not a new issue for
10 the Commission. It's just of new importance and
11 relevance because of the concerns we have over the
12 acceleration of these concerns, of flooding, and of
13 inundation and erosion that will occur with rising sea
14 level.

15 Because of that, we put together a sea level
16 rise guidance document that has consolidated much of
17 what the Commission had been doing for a number of
18 years. And developed that into a one place to go and
19 understand all the concerns we have about sea level
20 rise, what we're trying to do, and how we are advising,
21 guiding local governments and individual applicants on
22 how to address sea level rise within the projects or
23 planning that they bring before the Commission.

24 Like any document, it's got an introduction.
25 We've got guiding principles. We talk about some of the

1 sea level rise science, consequences of sea level rise,
2 how we address sea level rise within local coastal
3 programs, or LCPs. How we address sea level rise within
4 the coastal development permits. What some of the
5 adaptation strategies are. What's the legal context for
6 how we're doing this. And then next steps.

7 I'm going to quickly go through some of these
8 parts. A lot of this is not unique to the Coastal
9 Commission. We are working together with other State
10 agencies, with various executive orders. I realize some
11 of these are out -- not out of date, but we need to add
12 a lot more initials, a lot more numbers because there's
13 been so much activity going on with climate change and
14 sea level rise.

15 But we view our document as being consistent
16 with and in more detail than, in some cases, the
17 Safeguarding document, because it deals specifically
18 with the Coastal Commission, and the local governments
19 and the applicants before the Commission will be doing.

20 Our guiding principles are to use science to
21 guide decisions, to maximize protection of public
22 resources, recreation, access, and sensitive coastal
23 habitat areas, to minimize coastal hazards. They can't
24 be completely avoided in many cases, but try to minimize
25 those through careful planning and development

1 standards. And then maximize coordination.

2 We have a number of areas in which we've gone
3 into more detail. We talk about using best available
4 science, scenario-based planning. So, you don't plan
5 for just one thing, but you plan for a range, the
6 highest, to the mid-range, and then perhaps the low
7 range. But plan for a full range of options of sea
8 level rise. Do so with precautionary principles and
9 look at environmental justice.

10 There's also the principle that perhaps property
11 owners should assume many of the risks associated with
12 their development. We want to protect the public trust
13 that's a State resource for everyone.

14 And the coordinate regionally. Sea level rise
15 is not a property-by-property problem. It will be a
16 regional problem and it needs to be dealt with on
17 regional scales. And then, we want to maximize public
18 participation.

19 The planning steps that we have are to look at
20 what amount of sea level rise are you expecting and then
21 what are the risks that are going to be associated with
22 that. Not just the water level that comes with that,
23 but the changes to erosion, the changes to flooding, the
24 changes to inundation, with big storm events. Flooding
25 is not a problem unless you've got a large storm. So,

1 we've always taken that as an important part of how you
2 look at flooding.

3 And then what are the assets you have that could
4 be at risk? What are the development plans that you
5 might be proposing that would be in risky areas? And
6 then, identify what you can do about it. What are the
7 adaptation steps you can do?

8 If it's a planning project, then what are the
9 adaptation steps you can incorporate into your project?
10 If you're doing a local coastal program, what are the
11 adaptation strategies you write into your zoning
12 ordinances and your implementation ordinances? How do
13 you incorporate this adaptation into what you want to do
14 and make it reality and then put it in to either your
15 permit, or your local coastal program, and work with
16 staff.

17 It's an iterative process. Because working with
18 staff, working on these projects is going to be an
19 ongoing basis.

20 Many of you may be familiar with these steps.
21 Those first three are essentially developing a
22 vulnerability assessment and then the second -- the last
23 three are developing sort of your adaptation plan.

24 And we look at these in the planning horizons
25 for the project, itself. When we talk about looking at

1 vulnerability for sea level rise, it's going to depend
2 on the life of the project and the sensitivity of the
3 project. We recommend using the numbers within the NRC
4 document, within the State guidance document to look at
5 those for sea level rise. And figure out what your
6 level of risk might be. What are you going to be
7 vulnerable to over the time you expect your development
8 to be there?

9 If you're talking about a lifeguard station that
10 might have a life of 20 years, you might look at a lower
11 amount of sea level rise than if you're concerned about
12 putting in a new power plant, a new bridge, a new road,
13 or a wastewater treatment plant.

14 We know, too, that there's developing science
15 that maybe the numbers that were in the NRC report might
16 be low. It's looking into the future and so we're
17 trying to keep track of the new science so that we know
18 what the potential risks might be in the future of
19 underestimating sea level rise.

20 And then, once we've determined what the
21 possible risks might be, what are the adaptation options
22 you have? A lot of our guidance deals with those
23 adaptation options, going through and listing what ways
24 there are available to communities or to individual
25 projects to implement adaptation throughout either the

1 beginning part, middle, or end of the project.
2 Adaptation is not a single step, but it can be an
3 iterative process throughout the development of a
4 project. Perhaps based on triggers, based on risks,
5 based on something that will say it's time to change how
6 we are doing things. But we anticipated ahead of time
7 we might have to make some changes.

8 So, in the guidance document we go through and
9 we have a number of different Coastal Act policies,
10 coastal development hazards, public access recreation,
11 habitat, agricultural resources, water quality and
12 supply, archeological and paleontological resources, and
13 visual quality.

14 For each of those, we talk about some of the
15 various goals that we want to implement. Like, for this
16 goal, plan and locate new development to be safe from
17 hazards, not required protection over its entire
18 lifespan and be protective of coastal resources.

19 But within that, identify a number of adaptation
20 options that could help with that goal. This is not a
21 do everything on the list. It's ideas. It's intended
22 to stimulate other actions that might be better than
23 what we've listed. But trying to get people thinking
24 along the idea of adaptation.

25 It's sort of a new concept for people,

1 especially looking at development. Because we think of
2 once something is built, it's done. And that's not
3 really full adaptation.

4 So, our next steps are going to be starting to
5 implement the guidance that we passed. It was adopted
6 by the Commission in August of 2015. And now, we need
7 to start helping and finding out best ways to go about
8 using our guidance and developing adaptation policies.

9 I bring up energy facilities as one example
10 because there are a number of facilities along the coast
11 that are going to be relicensed soon, up for
12 reconsideration, whether this is the right site for them
13 to be located? Whether this is where they should stay
14 for the next 30 years, 60 years, 100 years?

15 And often we don't have answers, but we would
16 like to work with you to find ways to best let the
17 energy system within California adapt to those things
18 that will be happening in the future, over which we
19 have, to some extent, very little control.

20 And so, how can we adapt to climate change, to
21 sea level rise in particular, and maintain the energy
22 systems that we need.

23 We've already worked on a number of options for
24 adaptation over the years and this is not new to us.
25 It's just a new framework in which it's being presented.

1 We've developed setbacks over the years that have been
2 very effective. Here, you can see where development
3 went in before the Coastal Act, and then soon after the
4 Coastal Act with a setback. Those homes are still safe,
5 while the homes right at the edge are a little concerned
6 about how long -- how much longer they'll be able to
7 stay there.

8 We've been working a lot with Caltrans on new
9 road projects, so that those road projects can be
10 designed now to take into account sea level rise into
11 the future, into the 2100 and beyond. So that this
12 bridge, one of the I-5 bridges down in San Diego County,
13 they're being replaced, they're being rebuilt. The
14 lower bridge is the design that has been done to
15 accommodate the amount of sea level rise we expect in
16 the future to allow the habitat to move. So that the
17 nursery areas for fish and wildlife communities, so that
18 the habitat that's provided by wetlands and
19 environmentally sensitive habit will be able to continue
20 to expand, to go inland and upland, rather than be
21 constrained within a very narrow channel.

22 And we've worked with Caltrans on opportunities
23 to relocate. It's not something that happens overnight.
24 This is the double Sly Tunnel. It took 25 years for
25 that project to go into effect. But we worked over time

1 with Caltrans to find ways to incrementally make that
2 happen.

3 We understand adaptation is not just a one-size-
4 fits-all. There can be different strategies for
5 different locations and hazards, different ways of
6 protecting resources. And the effectiveness of
7 adaptation is likely to change over time and place.
8 Some adaptation options will work wonderfully well in
9 the North Coast and they will not be effective in the
10 City of Los Angeles.

11 And for the most part, most new projects will
12 need to consider hybrids and multiple strategies for
13 adaptation and multiple ways of putting those into
14 effect over time. And we're hoping to be able to work
15 with individual property owners, applicants,
16 communities, and other groups that want to work with us
17 on finding ways to better adapt and implement adaptation
18 for climate over time, and for sea level rise in
19 particular.

20 So, thank you very much for your attention. And
21 this is how you can see our Sea Level Rise Guidance
22 document, if you want to.

23 COMMISSIONER DOUGLAS: Thank you.

24 MS. RAITT: Thank you. Next is Christina Curry,
25 from the California Governor's Office of Emergency

1 Services.

2 MS. CURRY: Good morning, Commissioners and
3 members of the public. I really appreciate you
4 including CAL-OES this morning to talk about energy
5 policy and, specifically, climate adaptations, and some
6 of the things we have been looking at and have been
7 doing. Hopefully, to meld this all together with our
8 world of disaster management and the things that we're
9 facing right now in California, in real time, and then
10 what our responsibilities are to anticipate and improve
11 that condition over time. And how I think this
12 opportunity with all that the State has done with
13 climate adaptation to direct us, as a State, to
14 consolidate really is helpful and going to improve a lot
15 of things. Even outside of climate, for us, that reduce
16 risks in communities.

17 So, just a little bit about what we do.
18 Hopefully, this isn't stating the obvious. But our
19 office is responsible for responding to disasters, at
20 least when things rise to the State level, which a lot
21 does. And directing the action of other State agencies.
22 So, we really work with everybody that's here in the
23 room, speaking, and otherwise working on climate
24 adaptation in that real-time mode, as well, to leverage
25 those resources and things that communities need to, you

1 know, bounce back, to respond, to protect lives in times
2 of emergency.

3 So, we have a very efficient and effective
4 system to do that. I think, looking at climate
5 adaptation down the road, we're not going to be able to,
6 you know, always going to need that. We're always going
7 to need to be ready to respond.

8 It's really what we're doing to anticipate what
9 those impacts are going to be, how that affects our
10 resources available to respond, and their capabilities
11 they need to have. At the same time, trying to reduce
12 the risk ahead of the impacts so that we can, you know,
13 again, help our communities to withstand things that may
14 rise to the level of a disaster in the future.

15 And part of our job is to also work outside of
16 disaster response. So, we do have a responsibility to
17 prepare, provide guidance and tools for communities to
18 prepare for disasters.

19 And what we call mitigation in our world, which
20 is risk reduction, and recover from disasters. So, when
21 they do happen, there's a long road that follows that.
22 Still coping with a lot with the fires from last year,
23 for example. To make sure that things are at least put
24 back to some sense of normalcy and creating those
25 opportunities to improve and reduce those risks, while

1 we're doing the recovery from events. So, we have a lot
2 of opportunities to do that. A lot of opportunities to
3 work with everyone here to be as effective as we can be.

4 This is just a snapshot. I couldn't possibly
5 fit all the pictures of doom and gloom that California
6 has faced. This is just recent. Maybe since 2014 up to
7 the present. A lot of things you recognize.

8 But I did want to include, you know, we are at
9 risk to earthquakes. I thought I was going to be the
10 only one here to talk about earthquakes, but somebody
11 mentioned tsunami already, so there is a nexus even to
12 that.

13 And acts of terrorism. We have to be ready for
14 intentional harm that can be done. And it's important,
15 when you're looking at resiliency and all the things
16 that that means, you know, unfortunately, we have to
17 look at that as well. Cyber security, acts of intent,
18 you know, those trying to do harm and disrupt is a huge
19 consideration for the energy sector, as you well know.

20 Not to mention, you know, the other types of
21 known disasters, like the fires, the oil spill. Aliso
22 Canyon, you know, was a lot of things, and it was also
23 an emergency that had to managed in real time.

24 The landslide in Pacifica, you had a photo of
25 that. You know, the El Nino threat that we thought we

1 would have this year for the south really didn't pan
2 out, but we still had impacts to storms in many
3 communities and Pacifica included.

4 So, you know, we're ready to those. We respond
5 to these. Some of these rise to the level of federal
6 assistance and dollars. Some of these are managed by
7 the State. Regardless, California needs to be ready,
8 and is, to face emergencies, climate related and
9 otherwise.

10 And so as I kind of keep talking and talk about
11 resiliency, you know, we have that in mind and how we
12 improve, and what are the foundational things that help
13 us be ready for these, and help us withstand these
14 events that really span all the different kinds of
15 hazards we face.

16 So just I put this up here as a comparison of
17 one of the things we look at for seismic risk. This is
18 a map of shaking intensity. So, red is bad. Blue is
19 better. Yellow and orange are in between. And the map
20 on the left is the Napa earthquake from 2014. So, you
21 can see the concentration. It might be kind of hard to
22 see. The shaking was, obviously, Napa, Vallejo, that
23 area right around there. And then, you know, a little
24 bit outside of that zone. Very devastating for those
25 communities that were impacted and suffered damages, and

1 disruption, and less so.

2 And then we compare that to what we've modeled
3 as a similar -- using similar science, as a shaking map,
4 if the 1906 earthquake was to repeat itself today, and
5 you pan way out, look at how far and wide that same
6 demonstration of shaking. That's a huge impact. That's
7 millions of people.
8 that's really going to test and even exceed our ability
9 to respond, you know, maybe as effectively and quickly
10 as we were able to with Napa, but only because the scale
11 of the event was so different.

12 So we, at our office, have to be ready for both
13 magnitudes. So again, as we're employing techniques to
14 be resilient, to reduce risks, we have to keep in mind
15 what we could face, maybe much, much less frequently, as
16 well as what we actually face with greater frequency.
17 And, you know, kind of toggling between those two
18 notions is a difficult thing. But we do have to plan
19 for what I call the catastrophic.

20 And again, as we're making investments and
21 looking long range and short range, you know, being
22 ready and being capable to deal what the maximum end cap
23 can be is, unfortunately, a reality in California. So,
24 I just wanted to show that comparison using earthquake
25 as an example of how we need to be able to scale up our

1 abilities.

2 So, a couple of ways that we would look at our
3 slice of the world, I would say for resiliency is part
4 of that is being ready to respond. Again, disasters are
5 inevitable, they're happening to us right now. We need
6 to be able to understand what we have to be able to do.

7 And the way we look at that for response,
8 because it would be difficult and impractical to have
9 plans on the shelf for every single hazard, there's just
10 too many of them. It's just most things are common in
11 terms of what we have to be ready for and what's
12 impacted, regardless of what causes the issue,
13 earthquake, act of terrorism, flood, fire, you're going
14 to need people, first responders to come out there and
15 save lives and protect property.

16 So, we do that as an all-hazards approach. We
17 have generic national frameworks for responding and all
18 the different federal assets that would come into play.
19 We have a generic State emergency plan that articulates
20 how we handle disasters.

21 Then, we do have a few which are hazard-
22 specific, and these are those big scale, you know, like
23 that 1906 earthquake level. Because especially with
24 earthquakes, we know that they will come with little or
25 no notice, and we need to know how we're going to

1 organize and manage the needs of communities during
2 those times. So, we have done some hazard-specific
3 planning in those cases where we're just really not
4 going to have a time to get organized. We're going to
5 need to kind of know how that organization's going to
6 look right out of the gate.

7 So, that's really one element of resiliency,
8 being ready to respond. And that shifts, as we
9 understand more what we may face in the future, to
10 respond. So, the drought has been mentioned today.
11 It's a good example. It's the disaster that keeps on
12 going. We've been in it for years, now, and really have
13 been managing it like an emergency. With that, you
14 know, kind of army of people. You know, Kevin and his
15 agency, the water agencies to, you know, at the
16 community level, dealing with people who are literally
17 out of water. While at the same time investing and
18 facilitating resiliency against future drought. You
19 know, all of that happening. And it's taking a lot of
20 energy, a lot of resources to do it because we're facing
21 it now.

22 But that kind of pulling it all together, and
23 bringing our investments and our energies together to
24 really be resilient to that condition as a permanent one
25 in the future is what this is all about. You know,

1 that's what the adaptation policies and the leadership
2 that California is really kind of getting us ready to be
3 in that mode. Not as a crisis but, really, ahead of the
4 game because we understand that's a realistic new
5 condition.

6 And you take drought and you multiply that by
7 everything else, you know, more floods, drier
8 conditions, more heat, you know, and you can see how
9 this is starting to translate into the world of
10 emergency management. Because that's just really what
11 the future looks like and we have to translate that into
12 our products and into our approaches to planning for
13 disasters, as well.

14 And so the way we've done that, and I think
15 Safeguarding gets the prize because now everybody's
16 mentioned it, because it truly is where a lot has come
17 together. And then, with the package of legislation,
18 the executive order that were promulgated more recently,
19 I think really positions California very well, at least
20 from our office's perspective, to integrate and
21 understand the risk of climate. And then, push that
22 into our approach to, in our case, all hazards emergency
23 management.

24 So, one thing that Cal-OES oversees is the
25 mitigation plans at the local level for all hazard risk

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 reduction. And these are required by communities. If
2 they want to tap into FEMA dollars, Federal Emergency
3 Management Dollars, post-disaster, or even dollars that
4 become available for risk reduction, they have to have
5 these plans in place. So, it's an important component
6 where we can really push in the State's climate
7 adaptation strategies, and all the tools that have
8 become available for adaptation, and have it appear in
9 these mitigation plans.

10 They're updated every five years, so a little
11 more frequent than maybe general plans, or other
12 activities at the local level. So, it's a great
13 opportunity. And I think our communities have been
14 appreciative that so much has been done for adaptation
15 that, you know, it's very comprehensive, and
16 understandable, and things that we can give them the
17 tools, too. So, when they do these plan updates,
18 they're not having to reinvent the wheel, necessarily,
19 if we've done our job, to make these things translatable
20 and understandable.

21 One of those ways we've done it is the
22 Adaptation Planning Guide that was mentioned earlier.
23 So, that's a toolkit that really allows communities, who
24 are preparing their local mitigation plans, to import,
25 translate the latest climate science and package it in a

1 way that meets the formatting and other requirements for
2 their mitigation plans.

3 And then we put Cal-OES has been a sector lead
4 for emergency management or safeguarding. And all the
5 actions that have come from that.

6 And so our next statewide mitigation plan will
7 have an ever increasing portfolio of climate adaptation
8 included because of the work that we did in
9 safeguarding.

10 So, it was very important for us not to create
11 an emergency management version of climate adaptation.
12 That wouldn't make sense. It would just increase I'm
13 sure what already tends to be confusing at the community
14 level with different State programs. But rather to make
15 all these things reflect one another. And, you know,
16 where we're updating safeguarding, then that folds
17 nicely into our next State mitigation plan. And,
18 hopefully, we'll do the same in return when the next
19 mitigation plan at the State level is done by our
20 office. It will inform safeguarding in the future. So,
21 we're really working hard to make those things
22 interoperable.

23 And I think that's a big strength that we have,
24 the adaptation that helps us with all hazards in
25 emergency management.

1 Another strength I think, and as it pertains to
2 energy, is that we work together all the time. We are
3 consulting with the Energy Commission, with the
4 utilities, with just about all those types of disasters
5 that I showed the photo of earlier. Just about safety,
6 reliability, supply, and all the things that communities
7 need in a disaster and for us to be able to restore, or
8 ensure we're protecting. You know, we have that
9 relationship and we are working together all the time.

10 I think where we're seeing improvement and I
11 think the series of directives this year is really going
12 to help, is at the ground level and making those
13 investments ahead of time.

14 We have grant programs, to be honest, that we're
15 pushing down to communities for risk reduction. It's
16 our responsibility, as I see it, to make sure that we're
17 coordinating with all the other agencies that are
18 planning and have opportunities for investment.

19 So, at the ground level, where that all comes
20 together, not unlike drought, where we've managed it in
21 emergency mode, to make that the norm where we're really
22 kind of at the community level translating, and having
23 this all make sense.

24 And I think the clearinghouse will be a big part
25 of that. The TAG, you know, all those things Cal-OES is

1 part of. So that we can help, again, at the ground
2 level to make sure that these are packaged together.
3 And as communities are making decisions and trying to
4 understand, you know, what guidance to follow that we've
5 done our job as a State to bring that all together.
6 And, you know, if there can be a benefit for seismic,
7 and a funding stream for that, how can that help with
8 other things. You know, I think that's really where our
9 efforts are and should be placed so that we can improve
10 that.

11 And again, I think climate adaptation and all of
12 the State's initiatives have really helped us lead the
13 way.

14 We have connections, of course, with similar
15 functions in other states and nationally. They're all
16 looking to us, in California, on how we're figuring this
17 out, and how climate adaptation strategies can affect
18 emergency management. So, you know, what we do here
19 obviously really does span much, much farther and wider
20 than California. So, it's exciting to be a part of.

21 And I hope that provides just a little snapshot
22 of how we're looking at this and how, hopefully, we're
23 partnering effectively with everyone else in this space.
24 And look forward to being part of the dialogue going
25 forward.

1 COMMISSIONER DOUGLAS: Well, thank you. And I
2 just have one really quick question. And that is, you
3 know, I think I heard you say that you're really
4 integrating climate adaptation into everything you do.
5 It's not a separate silo of what you do, it's part of
6 your overall emergency management. And you're looking
7 at leveraging, you know, integrating it in everything
8 you do and leveraging multiple funding streams where
9 possible, to get multiple benefits.

10 Is that a generally accurate kind of a summary?

11 MS. CURRY: Yeah, absolutely. First of all,
12 it's consistent with our mission already, because
13 climate adaptation or the risks associated with the
14 future of climate are risks to disasters that we have an
15 obligation to work to, you know, maybe prevent. But at
16 least buy down the impacts of those.

17 So, it's a complete and natural fit with our
18 agency. And we are making it part of everything we do
19 because everything we do in some way, and should, effect
20 emergency management. So, our fire fighters, and law
21 enforcement, and people who are kind of working in those
22 specific areas need to understand what the future will
23 bring, because it has a direct impact on their business
24 and their ability to continue to protect communities and
25 protect property. So, it's very much a fit and very

1 important for us.

2 And, actually, like I said, it's an opportunity.
3 Because we have done so much to understand this and to
4 consolidate State efforts it's actually, you know,
5 makes -- unlike anything I've ever seen in terms of
6 bringing the State family together, and regions and
7 communities. So, we see that as a very positive thing.

8 And climate, what we do for climate adaptation
9 truly, I believe, when we get to the heart of the
10 techniques that communities need to be resilient, spans
11 a lot more than climate. There's not a lot in the
12 hazard world that doesn't have a nexus to climate. But
13 when you look at seismic, when you look at resiliency
14 against intentional acts, I do believe that we can
15 leverage these strategies and these techniques to even
16 help us with those.

17 So, we want to see how this can inform all of
18 our lines of business and effort beyond climate, as
19 well. So, it's exciting to be part of.

20 COMMISSIONER DOUGLAS: Thank you.

21 MS. RAITT: Thank you, Christina.

22 So, next, we'll hear from Guido Franco, from the
23 Energy Commission, and Kristin Ralff-Douglas from the
24 CPUC, and they'll be our last speakers for this panel.

25 MS. RALFF-DOUGLAS: Good morning. So, when the

1 PUC and the CEC were working on our chapter of the
2 Implementation Action Plans, we got together also with
3 DGS to cover the building section of this as well.

4 As part of this document, we created an
5 Adaptation Working Group which includes several of the
6 other agencies that are here today. It's chaired by
7 Commissioner Randolph at the PUC and Chair Weisenmiller
8 at the CEC. But it also includes OPR, and CNRA, and OES
9 to participate in the group.

10 The action items that we put into the
11 Safeguarding Plan are action items that we're focusing
12 on specifically in the short term. But we're going to
13 work with DOE, and the IOUs, and the Publicly Owned
14 Utilities on the vulnerability assessments and
15 resilience plans that they agreed to do as part of their
16 memorandum of understanding.

17 Craig Zamuda is here and he's going to talk more
18 specifically about what the DOE Climate Resilience
19 Partnership is. But as part of that, there were two
20 very large deliverables that the IOUs have agreed to do.
21 And actually, I understand they're here to talk more
22 about what their plans are.

23 But in addition to that, we're also looking at
24 the -- extending, perhaps, the opportunity for the
25 Publicly Owned Utilities to participate, as well. SMUD

1 is already a partner and it would be great to see other
2 California utilities as part of this.

3 And then, another key action item is to
4 collaborate on research needs and efforts within the
5 commissions. There's a lot of things that are happening
6 in both commissions. And, in fact, the energy agencies,
7 but also the emergency agencies, and OPR. So, we were
8 looking to have this group be more collaborative in
9 terms of ongoing discussions.

10 In addition, Guido's going to talk more about
11 the climate, sea level rise scenarios. This is an
12 effort to try to encapsulate what is going to happen in
13 a way that the utilities can start planning around these
14 events. You know, which levels of sea level rise do
15 they use, temperature ranges, that sort of thing.

16 And then the last thing is to encourage
17 cooperation and collaboration among the utilities and
18 the various regional climate resilience collaboratives.
19 There's a lot happening at the regional level, the city
20 levels, the county levels, and we want to be sure that
21 the utilities are really participating in a very
22 thoughtful way with that.

23 So, I'm going to go quickly through some actions
24 we've taken at the PUC and then Guido's going to talk
25 about things at the CEC.

1 So, in January we issued a guidance document to
2 the utilities where we highlighted what they had already
3 agreed to do through their DOE Climate Resilience
4 Partnership obligation. And we highlighted the fact
5 that we were really interested in their participation
6 and providing a very robust vulnerability assessment.

7 Very quickly, the DOE Partnership called for
8 identifying key climate risks to study. Part of this
9 opportunity, obviously, is to be looking at localized
10 data, looking at the different time frames that we're
11 talking about, whether it's 2020, 2050, 2100. These are
12 obviously all going to present very different
13 challenges.

14 Part of the issue is do you look at the worst
15 case scenarios or the best case scenarios? Obviously,
16 we plan in this State for earthquakes, but we don't
17 necessarily plan for a 9.0 or a 10.0, so how much up the
18 climate scenario risk chain do we go.

19 And we were looking, obviously, at the inventory
20 of assets and the potential effects on each one of these
21 assets. And one of the things we were hoping the
22 utilities could provide is the performance level of each
23 of the assets, how they would respond to various climate
24 change issues but then, also looking at them when there
25 were multiple things happening at once. So, more

1 scenario planning.

2 Identify and obviously prioritize the
3 vulnerabilities so that we can be addressing the most
4 important things first.

5 And then, DOE had asked to have a magnitude
6 probability of impact. So, what is the magnitude of
7 something happening and the probability, and so we can
8 identify those things that have the highest probability
9 and the highest magnitude, first.

10 In the guidance document, we asked the utilities
11 to expand that request from the DOE and include several
12 different aspects here.

13 In the first place, the current and the future
14 generation, and distribution assets that are not owned
15 by the utility. As you know, many utilities don't own
16 all of their generation assets. These are contracts.
17 They're owned by homeowners. These are things that are
18 not directly within the control of the utilities, but
19 are very much a part of their system. And keeping an
20 eye on what the vulnerability of those assets are is
21 very important to the situation.

22 And in fact, the entire supply chain for fuel
23 and critical parts is key to understanding how quickly
24 the utilities can get back up online, or how they can
25 protect their customers from not going offline.

1 In 2006, I understand there was the heat storm,
2 transformers were going down, and there was a concern
3 that there wouldn't be enough transformers available to
4 replace all the ones that were broken. So, these are
5 supply chain kind of issues that we need to be looking
6 at.

7 In addition, there's a lot of issues with other
8 industries, such as telecommunications, and water
9 sectors that we need to be aware of. If the
10 telecommunication sector goes down, that's going to
11 bring down part of the energy sector and vice-versa.
12 So, these are conversations we should be actively
13 having.

14 In addition, we need to look wider than just the
15 assets of any individual utility. We need to be looking
16 California wide. And in fact, we need to be looking
17 regionally because the heat storms that we're
18 experiencing in the southwest are going to directly
19 affect California, as well.

20 And any water shortage, resources from the
21 northwest are also going to directly impact us. So, a
22 more regional perspective is needed.

23 Energy and management procedures are something
24 that the utilities are looking at all the time with
25 regard to drought, and wildfire, and earthquakes. But

1 this is something that needs to be expanded to include
2 more of the issues that are going to happen as a result
3 of adaptation.

4 We'd also like them to look at vulnerable
5 communities. There's a lot of different things that
6 need to happen for specific communities, that we need to
7 be aware of at the outset.

8 And also, institutional barriers within the
9 utilities. How are they dealing with their own
10 management system? How are they dealing with their own
11 flexibility and adaptability to incorporating adaptation
12 at the highest levels and then throughout the
13 organization?

14 So, I'm going to turn it over now to Guido.

15 MR. FRANCO: Thank you, Kristin. So, the Energy
16 Commission is leading several activities, mostly related
17 to the science part of the overall effort.

18 So, for example, we have Commission
19 developing -- the development of climate scenarios and
20 several scenarios that will be discussed early this
21 afternoon, so I'm not going to say more about that.

22 But we also supporting several projects looking
23 at the vulnerability of the energy system and what
24 adaptation options are attractive.

25 And we're also mixing, or combining, or

1 coordinating mitigation, reducing greenhouse gas
2 emissions with adaptation. One example is we have a
3 research project with LBNL, Lawrence Berkeley National
4 Laboratory, UC Berkeley, UC Irvine and E3. Both the
5 three groups or the four groups are looking at how the
6 energy systems should evolve in the next 34 years, to
7 2050. Again, weight produces drastic grid options, so
8 greenhouse gas emissions. While at the same time we're
9 developing a system that is less vulnerable to climate
10 impacts.

11 In addition, we are funding projects that are
12 part of California's fourth climate assessment that will
13 be released to the Governor and the Legislature late in
14 2018. We have a number of projects on that.

15 One example is a project with ICF, a consultant
16 company. They are working very closely with San Diego
17 Gas & Electric. Brian is here, I just talked to him and
18 I'm waiting for your presentation because I think it's
19 going to be wonderful. And it's going to be wonderful
20 because it shows how the researchers can work with the
21 utilities to develop robust adaptation strategies.

22 And in this case, they are looking mostly at the
23 effect of wildfires, how wildfires will affect the
24 operation of San Diego Gas & Electric.

25 And we have other projects like that, but we

1 don't have time to talk about them.

2 So, my last point is what I said before, where
3 we asked all the researchers to work very closely with
4 the utilities, and with the CPUC. And was showing us an
5 example of work that was just finished. The report is
6 still in the Commission, but we already received
7 technical comments from the Pacific Gas & Electric.
8 It's a study about the vulnerability of natural gas
9 infrastructure in the Sacramento and San Joaquin Delta.

10 And UC Berkeley was able to show that, yes,
11 there are vulnerabilities there. PG&E was convinced
12 that, yes, this is the case, and they developed their
13 own strategy of how to deal with that.

14 The good news is that we have early on found out
15 these vulnerabilities. PG&E has determined what they
16 could do. But the good news is that it will not happen
17 tomorrow, it will take time. So, there is time to
18 incorporate this type of adaptation activities in the
19 current activities, when improving infrastructure for
20 the energy system. That will -- in my opinion, will
21 substantially reduce the cost of adaptation for the
22 energy system.

23 Other activities that we have been coordinating
24 or leading, Louise talked about the creation of a
25 technical advisory group, by OPR. We are coordinating

1 and leading for her the Climate Scenarios Group. So, we
2 see this as a huge opportunity to make sure that we
3 don't have climate scenarios for the energy sector, one
4 set of scenarios, climate scenarios for water, climate
5 scenarios for energy, et cetera, et cetera. The idea is
6 to have one set of common scenarios and scenarios that
7 will be used for research and long-term planning for all
8 the sectors of the economy.

9 As part of the fourth California assessment, we
10 are also coordinating the adoption of climate scenarios,
11 ancillary scenarios for all of the studies. The good
12 news is again that we are involved, too. So, hopefully,
13 we will not have completely different climate scenario
14 for the fourth assessment. They will be highly
15 compatible with what will be adopted by OPR, for the
16 guidance document, and also what will be adopted for the
17 Energy Commission and the California Public Utility
18 Commission for the energy sector.

19 Finally, I think my time is almost over, is that
20 I mean we have EPIC funds to study the energy sector --
21 the electricity sector. We have PIER Program funds to
22 study the vulnerability of the natural gas sector. But
23 before we didn't have any money to look at the petroleum
24 sector. What happened with our final, petroleum
25 pipeline, et cetera, we received a one-time allocation

1 of funding from the Petroleum Violation Escrow Account,
2 so Susan Wilhelm is leading that effort, you know, to
3 look at the vulnerability and adaptation options for the
4 petroleum sector.

5 I think we'll end with that and thank you very
6 much.

7 COMMISSIONER DOUGLAS: Thank you, Guido. And I
8 think that we've got some time for questions. I wanted
9 to start with one, which that Guido talked about the
10 value of having a single set of climate scenarios that
11 we can use across different State agencies and across
12 sectors, so that we don't have to start the day with the
13 question of, you know, what scenario shall I use today.
14 But at least we have that answered and we're on to how
15 do we use it and in what way.

16 But I guess my first question is how do we go
17 about getting one set of scenarios and how do we keep
18 them updated, and at what frequency might they need to
19 be updated.

20 And I don't know, maybe Louise, I don't know if
21 you've got kind of the birds eye view on the picture of
22 getting to the goal of State climate scenarios?

23 DR. BEDSWORTH: Yeah. I mean, I think -- well,
24 I think we hear over and over what should we plan for?
25 Just give us a number. And I think we all know that

1 it's going to be very hard to give a single number.

2 So, I think trying to tie as closely as possible
3 to the regular climate change assessment process makes
4 sense because that is a large, integrated, coordinated
5 investment in research. So, I think that's helpful and
6 that's what we're looking to right now.

7 I also think the question that Deborah brought
8 up is really important, is trying to also take that
9 information and present it in different ways that is
10 relevant for different audiences.

11 And I think some of the framing, and there's
12 definitely a need to say, okay, what should we plan for,
13 and give the range, and some guidance on how to think
14 within that uncertainty.

15 But I think also flipping it around in other
16 ways, thinking about how long do we have to plan for X
17 type of an outcome can be very helpful for a local
18 planner, for instance.

19 And so, I think that that's a conversation that
20 we're starting to have, as well.

21 So, I think it's not going to be the silver
22 bullet of plan for this. Because the example was given,
23 if you're building a lifeguard stand or you're building
24 a power plant, your tolerance of risk is different.

25 So, it's never going to be that single number.

1 But I think trying to provide that context, and I think
2 the commitment the State has made to research is really
3 important, and just continuing to do that work. And
4 also, to be really thoughtful and learn from the
5 experiences we have.

6 For instance, with the heat wave this week,
7 we've been reaching out to researchers in Southern
8 California to just get a sense of were people out there
9 measuring to see how well did this event map to our
10 projections of heat island index? You know, and what
11 can we learn from the events that we're having right
12 now, which can also go in to help provide more guidance.

13 MS. RANDOLPH: What kind of information do you
14 feel that you need from the utilities, either publicly
15 or investor owned, that would help inform your sort of
16 research development and issues that you haven't been
17 able to get, yet, or ever? That's a question for any of
18 the panelists.

19 MR. FRANCO: I think we're starting a process of
20 talking to the utilities. We're going to be working
21 with Kristin on that, you know, to find out how they do
22 planning, and what specific information they need.

23 And that is also coordinated with another work
24 that we're doing for OPR, for Louise. And we're talking
25 to the different State agencies to find out exactly the

1 same, what do they use for planning.

2 Like, for example, for the energy sector we use
3 the one in ten event to -- my understanding to determine
4 if there is enough capacity for the electric system, you
5 know, to be able to cope with very high temperatures.

6 So, these type of things we're going to be
7 talking to different groups and then to also quantify
8 them in the sense that -- I mean, we're using the
9 climate scenarios to see how those thematics will change
10 with time.

11 With respect to information, I mean so far the
12 utilities have been extremely helpful. But we also note
13 that there is a CPUC order mandating the assistance from
14 the utilities to research groups, you know, for that
15 information for the studies. We understand that there
16 is a need to keep confidence -- information
17 confidential. But I think the order covers all the
18 aspects of how to do that.

19 MS. HALBERSTADT: I think, also, the database
20 that I mentioned, the AB 2516 Sea Level Rise Planning
21 Database, could be a helpful tool here because we've
22 already surveyed several utilities to find out what
23 types of steps they're taking to address sea level rise.
24 And we have a range of answers and a range of steps.
25 You know, everything from we're not really doing

1 anything because we don't think we're going to be
2 affected by it, to very sophisticated, detailed
3 analyses.

4 So, I think that work that we've collected could
5 help significantly with the CEC and CUPC work.

6 MS. RALFF-DOUGLAS: And I would add that the
7 resilience plans that will follow the vulnerability
8 assessments are really a scenario planning opportunity
9 for the utilities to tell us how they're planning, and
10 how they're going to address each one of these
11 vulnerabilities from a systematic perspective and a
12 long-term perspective. So, kind of an iterative process
13 on that, as well.

14 DR. EWING: And then, as with the Coastal
15 Commission, we look at the repowering projects, I think
16 it would help to understand the full complement of
17 components that are part of that repowering, so that
18 we're seeing sort of the full package, rather than
19 upgrading the distribution lines, transmission lines in
20 year five, and then doing the power plant in year seven.
21 Tying -- what ties things into the decision process and
22 where are those key steps so that we're helping guide
23 that in a way that's beneficial to everyone.

24 MR. ALEX: So, thank you very much for the
25 presentations. I think one of the most difficult issues

1 and sets of issues is around costs and financing. It's
2 probably premature to -- you know, there will be all
3 kinds of different strategies. But I just want to make
4 sure that it's part of what you're thinking about as
5 each of your agencies moves forward in this process. I
6 think we all have a pretty big challenge with that. So,
7 pretty much a comment and feel free to respond or not.

8 MS. RALFF-DOUGLAS: One of the things that we
9 asked the utilities to do, when they come up with their
10 resilience plans, is to look past just the cost benefit
11 analysis, which is a very useful tool, but a somewhat
12 limited tool to decide between one action and another.

13 And we're asking them to start thinking about it
14 on a much broader framework of decision making. Of when
15 do you take an action? What kind of action do you take?
16 What are the opportunities and what are all the costs
17 and the benefits associated with that? So, it's a much
18 broader way of looking at what those costs would be.

19 MS. RAITT: So, Commissioner, I just wanted to
20 let you know we've come to the end of the time for this
21 panel that we've allotted.

22 COMMISSIONER DOUGLAS: I think we may have one
23 more question or --

24 MR. BARKER: I was just going to make a comment.
25 Looking at the title of the workshop, that it's Climate

1 Adaptation and Resiliency. And so, touching on Tina's
2 presentation about looking at resiliency, and
3 potentially the cumulative impacts of climate change,
4 plus these other issues of energy security with regards
5 to either cyber issues or physical terrorism.

6 I guess when I look back at the last few years,
7 I feel like California's sort of been the Guinea Pig for
8 resiliency. When we had a transmission system built
9 around a huge core piece of infrastructure that, you
10 know, without any foresight goes offline and we have to
11 kind of deal with it.

12 And then, you know, just last year we had
13 something similar. Not in the electricity side, but on
14 the gas side. And also, a few years ago having, you
15 know, having a physical terrorist attack on one of our
16 subs, which without a -- having the experience of flex
17 alerts probably could have seen a good chunk of the Bay
18 Area, the electricity go down.

19 And so, just seeing, I guess understanding how
20 to build in the pancake, the cumulative effects of
21 climate, but then also these other things is pretty
22 important and, I think, a daunting task.

23 COMMISSIONER DOUGLAS: That was a good point,
24 Kevin, and it makes me think back to some of Tina's
25 comments, as well, that resiliency in our system helps

1 us for a large number of stressors that our system may
2 face, and that we -- the utilities, for example, and the
3 ISO are required to plan for.

4 And one of those sets of stressors comes from
5 climate change, but there are many others that we face
6 with or without climate change, and face every day, or
7 at least have the potential to. And that's why there is
8 already a lot of ongoing planning and, you know, safety
9 margins and so on built in, and programs built in for
10 that.

11 And we've certainly, as you point out, have been
12 and are being tested on that front. So, thank you.

13 So, I think with that we're ready to move on to
14 the next panel.

15 MS. RAITT: Great. Thank you very much to all
16 the panelists.

17 COMMISSIONER DOUGLAS: Thank you. Thanks to
18 everyone on this panel.

19 MS. RAITT: So, our next panel is Examples of
20 Available Tools for Climate Vulnerability Assessment of
21 the Energy Sector.

22 And our first speaker is Dr. Susan Fischer
23 Wilhelm, from the Energy Commission.

24 DR. FISCHER WILHELM: Good morning. I'm Susan
25 Wilhelm and I manage the Energy Commission's contracts

1 that are currently enhancing Cal-Adapt.

2 Today, I'm going to talk about some of the
3 enhancements. We've seen quite a few enhancements over
4 the past six to nine months and we are continuing to
5 roll them out this summer.

6 But before I tell you about the purpose of our
7 enhancements and give you a brief tour of what we've
8 done, I'd like to remind you of what Cal-Adapt is. And
9 this is the Cal-Adapt 2.0 that I'll be talking about
10 today. This is the landing page. It's being rolled out
11 at this site.

12 Cal-Adapt was originally launched in 2011 by
13 then Governor Schwarzenegger. And the intention was to
14 offer people visualizations of climate related risks
15 based on peer-reviewed science.

16 We aim to provide very easy to understand
17 visualizations, with a primary emphasis on energy sector
18 planners, operators and managers. People who need to
19 use climate science to support their decisions, but
20 they're not climate scientists.

21 We also offer access to primary climate change
22 data for those who seek to perform additional analyses
23 based on the data visualized at Cal-Adapt. And we
24 complement other tools, such as Climate Console and
25 CoSMoS, which we'll hear about later. The federal

1 effort to develop a climate resilience toolkit.

2 And, in particular, I'd like to say, regarding
3 Climate Console, that whereas the folks at Conservation
4 Biology Institute have developed a tool tailored to
5 support analysis involving ecological conservation and
6 protection, Cal-Adapt has evolved more with a focus on
7 man-made infrastructure, as you'll see a bit later on.

8 So, the goals of recent and ongoing enhancements
9 with Cal-Adapt are first to provide higher resolution,
10 regionally down-scaled data that align with the
11 Intergovernmental Panel on Climate Change, the IPCC's
12 latest assessment report. And also to provide higher
13 fidelity data portraying wildfire, the impacts of sea
14 level rise and hydrological changes.

15 We're also working with Cal-Adapt 2.0 to help
16 users understand how to use climate change projections
17 and how to interpret their visuals. And Cal-Adapt 2.0
18 is built around an API, or an applications programming
19 interface, that supports third-party tool development
20 and also opens a host of opportunities related to
21 interoperability with other tools.

22 Finally, a key goal of the enhancements that
23 we're working on is to be responsive to utility
24 resilience needs in the energy sector.

25 To that end, we have assembled a Technical

1 Advisory Committee that contains representation from all
2 of California's Investor Owned Utilities, from a
3 Publicly Owned Utility, as well as the California
4 Independent System Operator, and several of our sister
5 state agencies and offices. Namely, the Department of
6 Water Resources, the California Office of Emergency
7 Services, the Public Utilities Commission and the
8 Governor's Office of Planning and Research.

9 Okay, so let's now turn to have a look at the
10 tools that are available right now on Cal-Adapt 2.0.
11 I'm going to step into the annual averages tool, which
12 offers a look at daily maximum, daily minimum and daily
13 precipitation.

14 So you see here, with Cal-Adapt 2.0, that in
15 addition to looking at climate projects, you have
16 observed historical data from 1950, visualized here
17 through 2005. You can see the envelope of modeled
18 variability associated with IPCC's suite of fifth
19 assessment report climate models. And you can see
20 climate change projections for a particular scenario
21 based on these ten global climate models.

22 And just a note regarding these particular ten
23 models. These are those that Department of Water
24 Resources has given the -- I don't want to call it their
25 seal of approval, but has pointed to as here are some

1 models that provide adequate representation of some
2 processes key to water resource management in
3 California.

4 Regarding our attempt to provide plain English
5 interpretation, if you go to Cal-Adapt 2.0 you will find
6 a very clear description of what you're looking at, and
7 a very clear description of the two IPCC scenarios that
8 are available. Presently, RCP 4.5 and 8.5. And you
9 also have a slider so that you can look at multi-decadal
10 averages based on the center point of your interest.

11 If you don't want to look at all GCMs, all ten
12 climate models that we have up there, you can select
13 those that you prefer. And here you see selection of
14 the four models that Dan Cayan will speak about this
15 afternoon.

16 Another key element of Cal-Adapt is that we're
17 working to support California's fourth climate change
18 assessment by serving key datasets. Namely, as Guido
19 spoke about earlier, a consistent set of peer-reviewed,
20 regionally downscaled climate projections. And this is
21 super important to facilitate cross-study integration
22 across the whole suite of fourth assessment studies.

23 We also serve historical data. And your handout
24 may say through 2005, but in fact the observed
25 historical dataset runs through 2013.

1 And we are working with UCLA to link to their
2 dynamically downscaled data, which you will also hear
3 about this afternoon.

4 These datasets are available through a super
5 easy-to-use download tool. Users can select their
6 spatial and temporal extent. They can download things
7 as geo TIF files or, in response to our Technical
8 Advisory Committee, we're also providing for tabular
9 downloads.

10 Several datasets are coming soon. We are
11 working on visualizing snowpack. We're working with
12 Department of Water Resources and other water-concerned
13 folks, including the utilities, to think about how best
14 to represent stream flow data.

15 And we also have in production mode, but not yet
16 public, a new sea level rise dataset that portrays for
17 the open coast, as well as the bay and the delta
18 inundation associated with an extreme storm event, plus
19 various increments of sea level rise.

20 Another enhancement in Cal-Adapt 2.0, that was
21 launched in response to Technical Advisory Committee
22 input, is several new aggregation options. So, in
23 addition to looking at projected climate changes for a
24 grid cell of about three and a half miles by three and a
25 half miles, you might want to look at climate change

1 associated with a particular watershed, climate zone,
2 with DWR's integrated water management boundaries, of
3 course census tracts, legislative districts.

4 And what I would like to demonstrate for you
5 today is looking at a particular area, through the lens
6 of climate risk, that you've selected on the basis of
7 its, perhaps, being a disadvantaged community.

8 Oh, finally, of course, most importantly, also
9 in response to utility sector input, we are supporting
10 upload of user-specified shape files. So, if you have a
11 shape file representing assets of interest, you can
12 upload that and look at climate risks accordingly.

13 Okay, so suppose we're interested in extreme
14 heat in disadvantaged communities. Here, you're looking
15 at census tracts in Fresno. These census tracts are
16 color coded on the basis of their CalEnviroScreen score.
17 For those of you who aren't familiar with it,
18 CalEnviroScreen was developed to help facilitate
19 preferential investment of greenhouse gas emissions
20 reduction funds in disadvantaged areas.

21 So here I've selected a census tract with a
22 fairly high score of 75, on a scale of 1 to 100. And
23 you see that for this area in Fresno the project number
24 of extreme heat days in the latter decades of the
25 century has jumped from an historical average of four to

1 55. This is a high emission scenario and extreme heat
2 days are defined with this particular locale in mind,
3 namely the 98th percentile maximum temperature, which
4 happens to be just shy of 107 degrees.

5 You can also see for this area of Fresno, and in
6 general in California, that whereas historically the
7 extreme heat season spanned, you know, June through
8 September, moving through the end of the century, on a
9 high emission scenario, we're going to expect to see
10 extreme heat starting in early May and continuing well
11 into October.

12 The other thing I would point out for this
13 Fresno-oriented graph is that towards the latter half of
14 the century we are seeing hot days in the yellow zone
15 which, on this graph, represents 113 to 131 degrees
16 Fahrenheit.

17 Okay, so the final dataset, again not publicly
18 available yet on the Cal-Adapt beta site, but in
19 production mode, portrays inundation associated with
20 various increments of sea level rise, plus an extreme
21 storm event. And in addition to modeling the coast and
22 the bay, John Radke's team at UC Berkeley has allowed us
23 to look at the delta.

24 So, you see here that with 1.4 meters of sea
25 level rise, plus an extreme storm event, both McDonald

1 and Sherman Islands areas, with important energy
2 infrastructure, experience some flooding as indicated by
3 the blue. And we will be able to view the overlay of
4 the social vulnerability scores by census tracts. But
5 you can see in this lower left-hand graph that there is
6 quite a bit of social vulnerability in these areas,
7 especially associated with San Joaquin Valley.

8 Thank you and I'll pass on to my colleagues.

9 MS. RAITT: Thank you, Susan.

10 The next is Dr. Patrick Barnard from the US
11 Geological Survey.

12 DR. BARNARD: Thank you. I want to talk about
13 the development of a modeling system to look at the
14 impact of climate change on the California coast. This
15 is something that we've been developing for about eight
16 years or so, now, in a collaboration with Point Blue
17 Conservation Science, who's developed the web tool.
18 Which some of you may have heard of Our Coast Our
19 Future. The CoSMoS, the Coastal Storm Modeling System,
20 is the model itself. The tool, the web tool is Our
21 Coast Our Future.

22 And a lot of the scientific outreach in Southern
23 California in the last couple of years has been done by
24 USC's Sea Grant.

25 Now, Pacific Institute really put the scale of

1 climate change impacts on the California coast on the
2 map, in their study that was completed back in 2009,
3 where they estimated about half a million people and
4 about \$100 billion in property are at risk from coastal
5 hazards over the next century.

6 Recent work, however, also looks at the trend in
7 population growth in California and suggests that
8 perhaps over a million people could be at risk in upper
9 sea level rise scenarios over the next century. Which
10 does not include any estimate of storm impacts. Simple
11 bathtub sea level rise, alone.

12 But as we know, during El Nino events we see
13 very large impacts. In the last two, very large El
14 Ninos we experienced several billion dollars of impacts
15 along the California coast. And even though this last
16 El Nino didn't see the storm impacts, the beaches were
17 as eroded as they've ever been in the 20 years' of
18 measurements.

19 So, we're trying to develop a system to look at
20 coastal vulnerability to climate change. There's lots
21 and lots of factors we have to consider. We have to
22 consider global sea level rise. We have to consider
23 regional sea level rise variability due to things like
24 ocean circulation patterns. Glacial fingerprinting,
25 which is basically gravitational changes due to ice

1 sheet melt, tectonics and isostatic rebound.

2 So, this is just a map showing about the last 20
3 years of sea level rise. And you can see it's very
4 heterogeneous, with very high rates of sea level rise in
5 the Western Pacific and very low rates in the Eastern
6 Pacific, which has actually just switched over the last
7 couple years.

8 But then locally we have to consider subsidence,
9 we have to consider local tectonics, fluvial discharge,
10 sediment supply, development. And L.A. Basin is a great
11 example of highly variable vertical land motion due to
12 subsidence and due to tectonic activity, which also has
13 to be considered.

14 And then the dynamic water level component,
15 which is where CoSMoS really comes in. Going beyond
16 this bathtub approach, but looking at steric effects.
17 So, when we have an El Nino winter, the water is warmer.
18 We have water levels about a foot higher across the
19 California coast. And then, very short-term effects of
20 waves, storm surge, and also event-based river
21 discharge.

22 So, just to kind of look at these two different
23 types of approaches, there's a static approach or a
24 bathtub approach that NOAA has developed. Which is a
25 really nice tool, the NOAA sea level rise viewer, for

1 looking at the daily impacts of sea level rise. And
2 it's done on a national scale. It's a passive model.
3 There's hydrological connectivity, but it's really just
4 looking at these two components of water levels, and
5 that's sea level rise and tides which are about, oh, two
6 meters of variability across California. You know,
7 let's just say a target's of about a meter of sea level
8 rise by 2100.

9 Now, these are going to under-predict flooding
10 hazards because they don't consider all the dynamic
11 components of water levels on a day-to-day basis.

12 And that's the system we've tried to develop,
13 known as CoSMoS. We try and model all of the relevant
14 physics that contribute to coastal water levels along
15 the coast, forced by global climate models, and
16 considers all these different contributions to total
17 water levels during day-to-day activity. From simple
18 average waves to extreme 100-year events. So, the
19 seasonal effects, the storm surge, the river discharge
20 and the wave-driven set up and run up along the coast.

21 So, considering the static approach alone, you
22 may have water variability on the order of about three
23 meters or about ten feet. But during a storm event you
24 can increase water levels on the order of four meters or
25 more, talking 12 to 13 feet. And that's what we're

1 trying to model so you understand the full scope of
2 potential impacts to your coastal resources.

3 So, this was developed as the first modeling
4 system for the California coast to look at coastal
5 hazards. We predict hazards for the full range of sea
6 level rise scenarios, up to five meters. So, as
7 guidance changes, we're going to have a scenario that's
8 going to be, hopefully, within that envelope, so we're
9 not going to generate products that are obsolete.

10 And also, storm possibilities from your daily
11 impacts of waves to your extreme events. So, if you're
12 an emergency responder, there's a scenario for you. If
13 you're looking at a most extreme event out at 2100 or
14 beyond, there's a scenario for you.

15 So, and these tools have been developed with
16 numerous State and local agencies. And recently, to a
17 great effort to support all the different climate change
18 guidance and vulnerability assessments that have been
19 going on throughout the State.

20 So, how it basically works is we take the global
21 wind fields from the latest IPCC models. We use that to
22 generate global wave models. And you say, well, why do
23 we have to go to this sort of scale? Well, the
24 California coast is affected by waves from Antarctica to
25 Alaska.

1 And even though we didn't see the impacts of
2 this last El Nino in terms of local storm impacts, the
3 coast, the beaches were as decimated as they've ever
4 been in the last 20 years or more because we get waves
5 from across the Pacific. They impact our beaches, they
6 impact our vulnerability. Even if we don't have very
7 strong, wind-generated waves locally, we can get very,
8 very large waves that are generated from throughout the
9 Pacific.

10 Then, we scale down to local hazards
11 projections. And here, we've been using the downscaling
12 work by Dan Cayan and Davie Pierce, developed for the
13 fourth assessment. So, we have locally generated waves
14 and storm surge, as well as these far-field generated
15 waves.

16 So, this work has been done in the Bay Area and
17 completed, both the CoSMoS modeling, and also the Our
18 Coast Our Future web tool, done in 2013 and 2014.

19 We're currently extending the work up to Pt.
20 Arena, and with support from the Coastal Conservancy and
21 from the fourth assessment we are on the verge of
22 completing this for Southern California, as well.

23 And the plan is to move up the Central Coast
24 next year and the North Coast in 2018, so we have a
25 consistent and complete coverage of the entire State of

1 California within several years, with this robust
2 approach.

3 So, almost equally important, arguably more
4 important, is how we serve this data up so it's
5 accessible and usable by agencies, in a flexible web
6 interface. This is the Our Coast Our Future tool.
7 Anyone can go in here, log on, play around with it.
8 It's available for the whole Bay Area, now. It will be
9 coming to Southern California in the fall. So, you have
10 a choice of looking at the hazard of your choice,
11 flooding, waves, tidal currents, uncertainty related to
12 coastal flooding. And then, a range of sea level rise
13 scenarios from zero to 5 meters, and storms from daily
14 conditions to your 100-year event. Lots of different
15 shape files and other layers that you can put on there.

16 But here's an example from Pacific, looking at
17 flooding due to sea level rise alone, around 2100. So,
18 if you have an infrastructure that's sensitive to sort
19 of daily flooding, this is what you might look at.

20 If you're more sensitive or concerned about the
21 extreme events, then you can turn the storms on and look
22 at the difference between sort of your daily impacts and
23 your extreme event impacts, and plan accordingly.

24 So, the primary products are flooding. This is
25 just a snapshot from North Bay, looking at the maximum

1 extent of flooding during a storm, the depth. We also
2 identify areas that are not connected to the bay or the
3 ocean, but would be flooded if a berm broke, or a
4 seawall broke, or a levee broke, so there's not a
5 complete false sense of security. So, those vulnerable
6 areas are designated.

7 Another, I think equally important product, is
8 uncertainty. All we're showing in that prior map is
9 sort of the bulls eye of the model, but there is
10 uncertainty in the model physics, how they're
11 parameterized, the digital elevation data, the vertical
12 land motion, the behavior of tidal marshes.

13 And so, here's an example from the San Francisco
14 Airport, looking at flooding with just 25 centimeters of
15 sea level rise in your typical average storm. But if
16 you look at the full range of uncertainty in the model,
17 and all the different components that go into it, this
18 is what we present as a worst case scenario. So, for a
19 very high value infrastructure, like an airport, this is
20 probably the product that you want to be looking at.

21 Also, flood duration. Is your area during this
22 particular scenario going to be flooded for five minutes
23 or 24 hours, during a storm for example. So, you have
24 some idea of the vulnerability.

25 Also, waves, in terms of harbor safety and

1 potential damage to infrastructure. This is looking at
2 a 100-year event in the San Francisco Bay Area, showing
3 you can get waves on the order of 40 feet on the open
4 coast and, actually, some penetration into the San
5 Francisco Bay, as well.

6 So, lots of different products. And we're
7 always looking for feedback from the agencies about what
8 other products they may be able to use.

9 For example, Caltrans wanted elevation data for
10 all the flood levels to be presented in a more seamless
11 fashion. Instead of what gets wet, but how high, so
12 they could relate it to their bridges and other
13 infrastructure in the transportation system.

14 And then the next iteration here, which is in
15 beta form, will be coming out in about a month. And
16 then following this, in concert with the physical
17 impacts, will be the socioeconomic impacts. So, Nate
18 Wood's group, within USGS, is developing the
19 socioeconomic impacts web tool. Which will then
20 translate what are sometimes esoteric flood extents into
21 how many people, how many dollars are at risk?

22 And a lot of this is census based. There's lots
23 and lots of information that can be gleaned from this
24 data, as well.

25 So, this is kind of where we are now. Expanding

1 to Southern California. We released the extreme storm
2 scenarios back in December of 2015, which also included
3 projects of cliff retreat and beach erosion. And this
4 was with five different sea level rise scenarios at the
5 two meters. This is available now online, in KMZ
6 format.

7 But coming in the fall are all 40 scenarios of
8 sea level rise and storms, flooding, extent depth,
9 duration. And the coastal flood extents are integrated
10 with how the beach and how the coast is actually
11 evolving through time. It's not a static system by any
12 means.

13 The web tool will be there, the socioeconomic
14 web tool will be there. And then we're going to move on
15 to Central California and beyond.

16 So, thank you.

17 MS. RAITT: Thank you very much. So, next is
18 Dr. James Strittholt.

19 DR. STRITTHOLT: Sorry, I had everything saved
20 prior to the meeting and it just got -- it got deleted,
21 so I'm going to go live, instead of using Power Points.

22 Here we go. So, this project started --
23 actually, we did a Climate Console for the Desert
24 Renewable Energy Conservation Plan. It launched about a
25 year and a half ago, I guess.

1 And because of that, we were asked to try to
2 extend it to include the entire State of California.
3 So, this is now live. Not everything I'm going to show
4 you today is live. The last panel that I'll show you
5 will be live in July. But I'm going to show you some of
6 the basic features of this.

7 It's really, this particular application is
8 actually an extension of our database and platform. And
9 we were trying to come up with a way that we could allow
10 people to see as much content as possible, and in as
11 user-friendly way that we could think of. And that's
12 what you're going to see.

13 There are actually over 900 datasets in this.
14 And, hopefully, it wouldn't look like it as you drive
15 the system.

16 The way it's set up is to be quite simple.
17 You're going to go in, select whatever reporting area
18 you're interested in. So, if you're interested in
19 county boundaries, or eco-regional boundaries, or other
20 jurisdictions this can be added to. These are just the
21 ones that we currently have.

22 So, you would go in and pick whatever one of
23 these features you wish. You would select the ones you
24 want. You can select one or more of them. Let me just
25 pick Fresno County. And the results appear on the right

1 banner.

2 We try to have numerous pop-ups to help people
3 orient of what am I looking at and what does this mean.
4 I'm going to close those just to make this go a little
5 quicker.

6 And up at the top banner you're going to see
7 several tabs. There's climate, weather, conditions, and
8 impacts, and ecosystem services. And so, there's
9 information under each one of those and they're all map-
10 based.

11 If we look at the climate tab, the options to
12 look at, and this is pretty typical of any type of
13 climate change adaptation. And I'm going to be moving
14 away from this pretty quickly. But just to give you
15 some quick orientation of the entire site.

16 It has some of the basic pieces. There's
17 maximum temperature, min temperature, precipitation,
18 aridity, and PET is potential evapo transpiration. How
19 does it affect plants?

20 Now, as Susan mentioned earlier, this site is
21 really targeting natural systems, although a lot of this
22 has applications of other human infrastructure, as well.

23 We've used the ten models that have already been
24 discussed, so there's consistency in the models that
25 have been chosen.

1 The way this is set up, so if we're looking at
2 maximum temperature for this particular county, and we
3 want to look at -- we can look at either metric units,
4 or if you want to be English units, if that's more
5 comfortable, we can look at averages or changes between
6 the years. And we look at either annual or different
7 seasons. Because, depending on what your interests are,
8 you may be interested in what's the spring going to be
9 like or what's the fall going to be like? Particularly,
10 if you're looking at things like fire or other kinds of
11 disturbances.

12 Every one of these dots on this graph are
13 actually linked to a map. And all of the maps that are
14 in this system, there is a hot link to Data Basin, so if
15 you see something of interest in this particular
16 application, and you now want to add other data to it
17 that you may have, this is your gateway to do that.
18 It's the click, you open up the database in viewer, you
19 can add your data and you're off to the races from
20 there.

21 And as you can see from this chart, there's
22 pretty much agreement. You can see all the models are
23 pretty tightly packed. And these are -- in this
24 particular graphic, these are 30-year averages, going
25 from 2016 to 2045 is this chart.

1 But what you're looking at is the models are in
2 high agreement. And so, and that's no big shocker to
3 folks in the room that the temperatures are predicted to
4 continue to increase over time. And there's a quite
5 good fit on model agreement.

6 However, on precipitation it's less clear.
7 There's greater uncertainty about what's the
8 precipitation story likely to be? And so, you'll see
9 ranges. And the system allows you, this application
10 allows you to try different ones.

11 What if we're talking about a wet future in the
12 near term? And if I look at the change, it could be
13 close to 19 percent wetter, if it goes that track, or it
14 could be 14 percent drier, even though the temperatures
15 are always pretty clear are going up.

16 If you want to see a super-simple graphic of
17 what the averages are for all of the models, they're
18 presented down below, showing the relative increases in
19 temperature and either increases or decreases in
20 precipitation, based on an average of all of the models.

21 The weather tab was set up, this is actually a
22 live NOAA feed. And it looks at temperature and
23 precipitation at three-month rolling averages. And this
24 is more on the short term. One year out type of thing.
25 And we're looking right now and it's saying that it's

1 going to be warmer than normal. A big shocker, because
2 it's going to be over 100 today, so there's some
3 agreement there.

4 This is animated. We could either animate the
5 temperatures going forward, so it's going to be quite a
6 bit warmer in the not-too-distant future. The next
7 three or four months are going to be far warmer than
8 normal, according to the NOAA weather centers.

9 I will stop it. We could do the same for
10 precipitation and see if it's predicted to be wetter,
11 drier or normal over these same time frames.

12 Why is that important? If you're a manager, it
13 might tell you whether this is a good season to do the
14 restoration you were anticipating doing, or maybe you
15 wait. The weather is not going to be suitable for the
16 financial investment in the field crews that you're
17 going to put out to either do some type of controlled
18 burn, or a restoration, or plantings, or what have you.

19 There is also a conditions and impacts tab.
20 There's more being added now. Those of you who are
21 familiar with our intactness model for the Desert
22 Renewable Energy Conservation Plan, we have one now for
23 the entire State of California. It will be loaded in
24 this, in the next couple of weeks, and it will be
25 located here.

1 This particular part of the model is looking at
2 site sensitivity. This is largely based on soil
3 characteristics, depth of soil, amount of water in the
4 soil, and so on. And this model that's used to generate
5 this map that you're seeing is all transparent down
6 below, and you can unpack each piece to determine where
7 in this region, and why is it mapped and indicated as it
8 is.

9 The last tab that I want to show today is new.
10 And there's a whole lot going on here, so I'm going to
11 take just a moment to explain it. It's still being
12 quality controlled and it's going to be out in July.
13 But you're getting to see a sneak peek.

14 I selected -- this is by -- right now, it's only
15 by watershed. We're going to have all of the other
16 reporting units on the left margin, like you saw in the
17 other graphic. And this time we're actually taking it
18 one more step. Rather than just looking at what the
19 temperature and precip is doing, we're trying to
20 anticipate what the effect on the vegetation is going to
21 be.

22 And we built in current land use and land use
23 projections, from Ben Sleater's lab, with USGS, up in
24 Tacoma, Washington. So, you're going to see
25 agricultural land embedded here, as well as urban land

1 embedded here, as we move into the next 100 years. And
2 I'm going to do it decadal.

3 The area that I selected is just this watershed
4 here. It's near the Kings River area. And it's along
5 the Southern Sierra Nevada. I could choose any of these
6 watersheds, but I'll just do this one because of the
7 sake of time.

8 And I'm going to actually run the animation.
9 It's just going to take a few seconds to run. These are
10 decadal averages. And I'm going to let it run again.
11 And there are a couple things worth mentioning.

12 So, for this particular watershed, you can see
13 what the profiles are going to be. There's going to
14 be -- according to the climate variables, there is
15 likely to be a decline of conifer cover and increased in
16 mixed forest for that particular watershed. I will stop
17 it.

18 The other thing you're going to see, as this
19 animates, you'll see the light green moving upslope in
20 the Sierra Nevada. That's the mixed forest moving
21 upslope as the conifers receded and the actual, the
22 taiga tundra are reduced, as well.

23 The other thing you're going to notice, probably
24 the most obvious thing as this is moving in front of
25 you, is this yellow and red flashing in the desert. And

1 so, that's based -- the yellow is grasslands and the red
2 is desert, and the brown is more of a shrub land type
3 pieces. The deserts tend to be flashing naturally. And
4 this is what -- these are based on decadal averages of
5 the projection models.

6 As things get wetter, you'll see the flashing of
7 the yellow. As things dry down, they'll get red and
8 brown.

9 That has lots of implications for this
10 particular region. In fact, if I were to pick a
11 watershed down in this geography, I'll pick this one,
12 you'll see pulses. And you can pick one of four models.
13 Do you want a warm/dry future? Do you want a hot/dry
14 future? Do you want a warm/wet future? To make it as
15 simple as possible to try to understand what are the
16 likely vegetation responses going to be.

17 We've also graphed a number of other services
18 down below. We've got amount of dead biomass. We've
19 got total ecosystem carbon. There are other, stream
20 flow, climate water deficit. These are all graphed for
21 you, for each place that you select.

22 Climate water deficit is plant stress. And so,
23 what this doesn't do is it doesn't really show,
24 explicitly, the extreme events. It's really hard to do
25 extreme events. But if we looked at this region just

1 right now, if you look at is there a likelihood of more
2 grasses there? Yes. And with the grasses come fire.

3 In fact, there is a -- we just finished a study
4 on the last 40 years of fire in the DRECP. And over the
5 last 40 years there's been a quite a bit of increase in
6 the number of fires and the number of large fires. And
7 they focus in on this geography right here, where all
8 the yellow is popping up. So, that may become more
9 reinforced. And it's largely driven by exotic grasses.

10 So, I'll end with, so that the applications of
11 these sorts of things are varied. In the case of the
12 fire grass, it would be to make sure that the invasives
13 cannot get a toehold, and you have a very narrow window
14 of controlling them. Once they reach a certain
15 coverage, it's going to be very difficult and very
16 expensive to stop it, and it's going to transition into
17 that sort of system that, traditionally, had not burned
18 in the last several hundred or even thousands of years.

19 So, with that, I'll stop. I think I'm out of
20 time because you're standing and I'm feeling the
21 footsteps. So, thanks.

22 MS. RAITT: Thank you very much.

23 Are there any questions?

24 MR. ALEX: I have a question. First of all, all
25 three of these are very impressive and, you know, thank

1 you for all your work on it.

2 As I sit here and watch, I mean this is a
3 question as much for us, as you. But I'm -- it's
4 persuasive in a lot of ways and I don't think we've been
5 very good at getting this type of information and
6 really, nicely presented to the public.

7 And I'm wondering if you have any thoughts about
8 how we might do that with some of the tools that you've
9 helped create?

10 DR. FISCHER WILHELM: For Cal-Adapt, currently
11 it's supported by two funding streams, the EPIC and the
12 Natural Gas PIER funds. Both of those contracts have,
13 in addition to getting input from energy sector
14 stakeholders on what they need, developing training
15 modules so that we can help them -- what do you need?
16 What tools can we build for you? And how can we help
17 you understand how to use this? So, we are working on
18 that for the energy sector and would love support beyond
19 the energy sector, for sister agencies.

20 DR. STRITTHOLT: For the Climate Console, we
21 just completed a pretty extensive one-on-one set of
22 surveys, with a large -- a variety of different folks.
23 And one of the things that came out of that was the need
24 for use case examples. To walk someone through. If I'm
25 this type of person and I'm responsible for this, to

1 take these sorts of actions, what do I do? Give me an
2 example or two that I can begin to relate. And then,
3 they tend to have a much quicker absorption time, and
4 then they get it.

5 And it's interesting that over the years what
6 we've seen is when you do that, people get real creative
7 really fast. If you don't do that, they tend to look at
8 it and go, wow, this is really pretty but I have no idea
9 what it says, and I've got to go do my job, now.

10 And so, that's kind of an important thing that
11 we need to follow up on and try to identify use cases
12 that are identifiable to different sectors.

13 DR. BARNARD: Yeah, I think for us, you know,
14 the sciences are starting to realize that the
15 presentation of science is just as important as the
16 science, itself. And so, when we got involved in Our
17 Coast Our Future Project in the Bay Area, and working
18 with Point Blue, who are experienced in the scientific
19 outreach, it really opened our eyes to how critical an
20 element that is in any scientific endeavor. Especially,
21 when it's going to, hopefully, serve the public good.

22 And so, there was a lot of work on the front
23 end, throughout the course of the project, on the back
24 end, and beta testing the tool, dozens of meetings,
25 webinars. And the same is going on in Southern

1 California, now. We found it critical to have people on
2 the ground, like USCC grant, who's deeply invested and
3 intertwined in local politics throughout the region.
4 So, they know who to reach, who to talk to, who to ask
5 for advice, who to get feedback from so that we're
6 developing a tool on the back end that's actually going
7 to be usable by these agencies who need information to
8 do their job.

9 So, it's the outreach component has much more
10 emphasis and it's currently funded through the fourth
11 assessment, now, for Our Coast Our Future for Southern
12 California.

13 MR. ALEX: Thank you for that. I think we'll
14 probably want to spend some time thinking about how
15 these tools may be able to reflect future scenarios,
16 maybe even district by district for Legislators and
17 local governments.

18 MS. RAITT: Commissioner, I wanted to just let
19 you know we have come to the closing time for this
20 session, if you wanted to.

21 COMMISSIONER DOUGLAS: Thank you, Heather, for
22 keeping all of us on track.

23 (Laughter)

24 COMMISSIONER DOUGLAS: Let me see if there are
25 any other questions from the dais.

1 I don't think I have any questions. I want to
2 just also join Ken's statement that these tools are
3 really impressive. And you can see the amount of work
4 and science, but also thought as to how the science will
5 be used that has gone into them. And, you know, we need
6 this kind of focus and these kinds of tools to really be
7 able to meet the promise of taking climate science and
8 making it actionable in the adaptation realm.

9 And also, as we consider the many different
10 decisions that we all have to make that really, and to
11 some degree or another, interact with or take place
12 within the natural environment that is being effected.
13 And that would be most of our decisions, if not all of
14 them, at some level.

15 So, this is very helpful and I appreciate all of
16 your work. Thank you for being here today.

17 And it looks like we are going to lunch about
18 four minutes late. And we will try to restart on time.
19 So, thank you.

20 MS. RAITT: And I just wanted to note that we do
21 have three papers out by the entrance that weren't out
22 there this morning. They're on a separate table. Two
23 papers by Scripps and one by UCLA that pertain to this
24 afternoon, if you'd like to pick them up.

25 (Off the record at 11:55 a.m.)

1 (On the record at 12:53 p.m.)

2 MS. RAITT: Okay, so welcome back. We'll go
3 ahead and get started, again. The Agency IEPR Workshop
4 on Climate Adaptation and Resiliency for the Energy
5 Sector.

6 And this afternoon, our first panel is on
7 Selecting Climate Scenarios for the Energy System. And
8 the Moderator is Guido Franco. And go ahead. Just a
9 minute. Okay, my mistake. I'm very sorry for the
10 delay. We are ready, now. We will be ready.

11 MR. FRANCO: Okay, thank you, Heather. This is
12 Guido Franco from the Energy Commission.

13 So, this session is about climate and sea level
14 rise scenarios. So, before Dan and Katharine give their
15 presentations, I just want to say a few things. First
16 of all, as you all may know, California has been a
17 leader on climate scenarios work for a long time. And
18 the work that California has been supporting in the last
19 three years, or more, has also brings us to be a leader,
20 again, to developing climate and sea level rise
21 scenarios.

22 Climate and sea level rise scenarios are being
23 used in the Energy Commission for multiple purposes.
24 For example, in the IEPR, the Integrated Energy Policy
25 Report, there is also a demand forecast that already

1 considers climate change.

2 Also for planning purposes, for example the
3 DRECP, the Desert Renewable Energy Conservation Plan.
4 You know, there were some studies that included
5 considerations of climate change.

6 Yeah, so the -- okay, so we have, in the last
7 three years -- I mean, three years ago we commissioned a
8 study by Scripps Institution of Oceanography to develop
9 a new downscale methodology. Because we knew that prior
10 methodologies that we were using to translate the
11 outputs of global climate models to the California
12 region, that they had some issues.

13 So, Dan and his group, Dan Cayan and his group
14 has been able to develop, I believe, one of the best
15 methods to translate the outputs of the climate models,
16 the global climate models to look at regions.

17 And the methodology has been adopted by the U.S.
18 Bureau of Reclamation, by the Army Corps of Engineers,
19 USGS, and so we're looking now to have the same method
20 as being used on a national scale.

21 That benefits what California is going to be
22 doing for climate impacts and adaptation studies because
23 we can also look at the studies that are going to be
24 done outside California and look at implications of the
25 climate scenarios of impacts outside California to what

1 may happen in California.

2 Also, we're lucky that UCLA has received funding
3 from Department of Energy, the National Science
4 Foundation, and the Foundation, you know, to develop a
5 new methodology to use a numerical model, to also
6 develop climate scenarios for California.

7 So, the first talk is about climate scenarios
8 for California. Dan will give the talk. And then he
9 also -- he will follow that by talking about new
10 estimations of sea level rise for California.

11 MR. CAYAN: Thanks, Guido. And good afternoon,
12 thanks for inviting us.

13 I'm standing in for David Pierce, who's really
14 the engineer of the methodology that Guido just
15 mentioned. We're dividing and conquering amongst the
16 group here.

17 So, what I'm going to lay out, in very brief
18 detail, is a set of climate scenarios that we're going
19 to use in the fourth assessment, and some of the
20 objections, and so forth in the development that Guido
21 mentioned.

22 And then, I'm going to follow this with the
23 discussion of the sea level rise scenarios which are, to
24 some extent, coupled to the so-called climate scenarios
25 that we're going to talk about here.

1 So, as you all know, the IPCC enterprise has
2 produced a number of global climate simulations
3 internationally that's been collected in a dataset
4 that's called CMIP5. That actually is our archived over
5 in Livermore, amongst other locations.

6 But there are, nowadays, really scores of those
7 climate simulations that are available. When we were
8 undertook this project there were a little more than 30
9 of those GCMs, and we've included 32 climate models that
10 had daily resolution and had a commonality of greenhouse
11 gas emission scenarios.

12 In this generation, we're referring to the RCPs,
13 representative concentration pathways, 4.5, 8.5 being
14 kind of mid and upper level RCPs. Those are laid out in
15 the figure here, where this is actual emissions. As we
16 move through the 21st Century, under the upper lower.

17 And also, as will come out in the sea level rise
18 discussion, there's some aspirational scenarios based on
19 nationally agreed upon, at least verbally, commitments,
20 which will be interesting to see if those actually play
21 out as far as global reductions.

22 But as you can see, I think a point to be made
23 here is that the actual emissions, which are shown by
24 the black dots, are lying pretty much on top of the
25 higher greenhouse gas scenario.

1 So, in developing the scenarios for the fourth
2 assessment and, in fact, for the downscaling problem, in
3 that we have a very textured landscape in California,
4 with a lot of gradients and so forth, global models are
5 often calculated on -- over tiles that spatial
6 horizontal scales of, typically, 150 kilometers. Which,
7 of course, is much coarser than is useful for a lot of
8 the decision making problems that we have. So,
9 downscaling is really key.

10 The other issue that we've addressed in these
11 scenarios is that models have usually offsets from the
12 real climate, so-called biases. And not that this is a
13 different form of the word "bias" than is used in social
14 science lingo.

15 But we have a so-called bias correction routine
16 that has been newly developed, which is part of the
17 package in developing the scenarios for California. So,
18 by so doing, we have adjusted the models to conform more
19 to reality than they would if you used them in the raw
20 form. And then that translates on into the downscaled
21 form of the solutions.

22 As I mentioned, the global models are often,
23 almost invariably too coarse. So, in this effort that
24 Guido mentioned in his prelude, we're actually achieving
25 a downscaling to 1/16th of a degree. That's about 6

1 kilometers, about 4 miles on a side. Which, of course,
2 is still a little bit coarse, but it's much better than,
3 say, five years ago the state of the art was more like
4 10 kilometers. So, we're getting to the scale that's
5 really more in tune with topographic features in
6 California.

7 And, of course, that's dictated pretty much by
8 observational data. We need to have an observational
9 record in order to achieve a realistic downscaling.

10 Our downscaling technique, called LOCA, Locally
11 Constructed Analogs, is a statistical technique which
12 uses statistics rather than the form of the downscaling
13 that you're going to hear about from Katharine, that's
14 done at UCLA, which is a dynamical methodology.

15 The advantage to statistical techniques is that
16 they're computationally efficient and they can be built
17 to be as close as you want to observational records.
18 So, there's a reason for this.

19 The other problem that we are addressing is that
20 land surface models within climate models vary quite a
21 lot. And so, we're actually calculating, offline, a
22 hydrological solution to a selected set of the
23 downscaled climate models in order to look at runoff,
24 snow, soil moisture, and other hydrologically important
25 measures. And that work is ongoing.

1 For many users, 32 GCMs is just way too much and
2 there's actually 32 GCMs by, in this case, two emission
3 scenarios, meaning there's 64 simulations. It was
4 already mentioned that through the Department of Water
5 Resources we have arrived at 10 GCMs from this cohort of
6 the CMIP5 simulations, that seem to be best suited for
7 California usage. That's based on the historical
8 performance of the models.

9 And we have, upon getting some feedback from the
10 State agencies, there was a need for even a smaller
11 subset of GCMs. And so, there's a methodology that's
12 been implemented, that Dave carried out, that derives 4
13 GCMs. In brief, a warm, dry model, a cooler, still
14 warming of course, wetter model. An average model, if
15 you like, out of the swarm of GCMs. And you saw some of
16 that when Susan showed the Cal-Adapt simulations
17 earlier, just before lunch. And then, finally, what we
18 call a coverage model, which is statistically as unlike
19 all of these other three models as you can derive. So
20 that we're kind of covering the bases of the ensemble of
21 simulations as we move into the future.

22 Our take on what models we would use for these
23 subsets of GCMs was based on the earlier part of the
24 21st Century, 2015 through 2050. So, we did not, in
25 that derivation, we did not focus on the end of the

1 century.

2 So, that's a very brief run down on the GCMs.
3 And should I just launch ahead to sea level rise? So, I
4 think my technical adviser is going to get me to the
5 next presentation.

6 So, this discussion is oriented towards a set,
7 ultimately a set of sea level rise scenarios that can be
8 used for assessment of coastal issues in California.
9 And you've heard two or three talks that led up to this,
10 that described a lot of the incentives to look at sea
11 level rise scenarios, by Patrick, and by Lesley, and
12 other presenters earlier. Deborah, for example.

13 What I'm going to show here is how we're
14 grappling with really an exploding set of new scientific
15 findings that is being included for the California
16 assessment. I'll come back to this slide in a second.

17 We actually, in guiding this effort, we enlisted
18 the help of a number of peers, which constituted an
19 expert committee. So, there were eight colleagues that
20 we arm-twisted to do pro bono, I might add, to provide a
21 discussion for a proposed framework in deriving
22 scenarios.

23 And the -- I think I will gloss over a lot of
24 the details. But the essence of the methodology which
25 was more or less endorsed by the experts was, first,

1 that we would actually use information from the latest
2 GCMs to underpin these scenarios. And, importantly, we
3 actually have strands of scenarios based on different
4 emissions pathways.

5 So, one of the key elements here is that we
6 really don't know how to blend probabilities of
7 different emissions pathways. So, I can't tell you the
8 likelihood of being on an RCP 4.5 pathway through the
9 21st Century versus RCP 8.5, or one of the newer,
10 perhaps internationally agreed upon, emission reductions
11 scenarios. So, we've treated those separately.

12 Another key point is that we will build these
13 scenarios from the bottom up. That is we are, instead
14 of dealing with bulk sea level rise from a global
15 context, we're going to construct these scenarios from
16 the individual contributions from the major sources of
17 sea level rise. Those being thermal expansion of the
18 ocean waters, melting glaciers and ice caps, changes in
19 land water storage by way of either sequestration of
20 water behind dams, or releasing water that's been
21 harbored below ground as we're pumping groundwater.

22 And then, finally, major contributions over time
23 from the ice sheets in Antarctica and Greenland.

24 And this was already mentioned earlier that
25 there are some very recent ice sheet modeling results

1 that actually turn on, at the higher rates of emission,
2 the mass loss of ice and, thereby water, into the global
3 oceans from Antarctica. Which actually pushes the upper
4 end of sea level rise scenarios above what previously,
5 as recently as just a couple of years ago, was really
6 thought to be the maximum possible in the centennial,
7 that is a 100-year time scale.

8 Also, another element of the strategy here is
9 that we're going to be using a probabilistic framework.
10 It's really quasi-probabilistic based on a number of
11 forms of estimates of probabilities. So, I could go
12 around and sample each one of you and ask what's the
13 likelihood of the stock market changing by X amount.
14 And I could form a distribution of our combined wisdom
15 for a stock market projection.

16 Well, the same thing has been done for sea level
17 rise in certain quarters. And then, there's other forms
18 of probabilities that can be based upon the ensemble of
19 GCMs, for example, and so forth. So, there's a number
20 of ways of getting at this, so this is very much a
21 hybrid construct that we're getting to.

22 And then, finally, we are going to translate,
23 using these global projections, to the regional scale,
24 and using some other forms of information from
25 observations, we're going to construct an hourly

1 projection of sea level rise along the California coast,
2 at locations where we have a historical record with
3 multi-decades of coverages.

4 So, Guido, I'm going to zoom through these and
5 then you can be shut of me.

6 So here is, component-by-component, thermal
7 expansion, glaciers, Greenland, Antarctica, and land
8 sources, estimates of contributions to global sea level
9 rise by the year 2100. And each one of these colored
10 bars is a different source of sea level rise estimate
11 from the scientific literature.

12 The one that is currently being used in
13 California is the NRC estimate, and that's this one
14 right here, this black one. So, you can kind of put --
15 and the so-called committee estimate for NRC is the
16 center dot for each one of these components.

17 More or less, the components pretty much fall
18 into a pretty consistent cluster when we look across the
19 realm of them, except for this very recent evidence from
20 Antarctica, which is that kind of outlier bar. And by
21 the way, the bars represent the 5th to the 95th
22 percentile estimate for that contribution.

23 Of course, again, there's a lot of uncertainty
24 here, for various reasons, which we don't have time to
25 discuss here. Just to aid your kind of calibration,

1 this dashed line right here is one meter of sea level
2 rise. And again, this is all based upon 2100. And, of
3 course, to achieve the total sea level rise, you would
4 add together each one of these components to derive a
5 total for the globe.

6 And by the way, global sea level rise,
7 historically, has mirrored over the long term sea level
8 rise along the California coast. So, the global measure
9 is not a bad one in terms of informing us what we are
10 probably facing over the long term. That doesn't mean
11 that we won't have El Ninos, and Pacific decadal
12 isolations and so forth that are going to complexify a
13 bit, and add variability. But over the long term,
14 that's probably what we're looking.

15 So here are three different emission scenarios.
16 Black, a very friendly one, RCP 2.6. Green, mid-range,
17 4.5. And blue, 8.5. The whiskers here, again, are 5,
18 95 percentile. The dot at the very upper end of these
19 charts is the 99.9th percentile. Take that with a grain
20 of salt. But think of that as, under these scenarios,
21 what models, various forms of models would think would
22 be the maximum possible. Again, this is the total sea
23 level rise.

24 And thanks to Robert Kopp, one of our experts
25 from Rutgers University, for actually carrying out these

1 computations.

2 So, as you see, this chart, if I can get the
3 cursor to point -- let me just point at the screen. It
4 starts not too far from today and goes through --

5 COMMISSIONER DOUGLAS: You need to be speaking
6 into the microphone for the transcript. Thanks.

7 MR. CAYAN: Oh, okay, I got busted. Okay, so
8 here it is. We are going from very near term to 2100
9 here, and you see how very much emission-dependent is
10 our future in terms of sea level rise, especially when
11 you get beyond mid-century. So, by the middle part of
12 the century, the cumulative amount of warming that is
13 occurring from greenhouse gas loading in the atmosphere
14 really takes hold and the more -- the more fossil fuel-
15 intensive greenhouse gas emissions result in much larger
16 amounts of sea level rise.

17 Here's a meter of sea level rise, again, to
18 acquaint you with what the center of distribution for
19 NRC was. It is about right here, about 9/10ths of a
20 meter for California.

21 So, you can see that we are, with the increased
22 possibility of uncontrolled ice loss from Antarctica,
23 particularly the western part of Antarctica, we are
24 being propelled into the very higher amounts of sea
25 level rise, with maximum possible reaching almost three

1 meters of sea level rise.

2 Now that, again, is the very outside edge of
3 that envelope and that's -- we were warned about that in
4 a talk earlier, about how we should be paying attention
5 to that. You could debate about how important it is to
6 be paying attention to the very upper part of the
7 distribution. But there it is, under this estimate.

8 Looking farther out into the future, with a
9 scale change here, now. So, this goes up to 12 meters
10 here on this scale. And this is 2200. We see how the
11 models are actually showing how sea level rise in the
12 long term is really a phenomena that will have to be
13 contended with, even at the lower emissions pathways.
14 This lowest one is RCP 2.6, by the way.

15 We have charted these percentile estimates for
16 the different emissions scenarios, as well as NRC, in
17 this particular panel. And just very briefly, we have a
18 methodology wherein we have been able to develop hourly
19 scenarios for sea level rise. In this case, this is
20 based on -- this is kind of an old picture. This is
21 based on the NRC Committee estimate.

22 This is San Francisco. And you can look at, in
23 this case, of course, extremes of sea level that would
24 rise above a given threshold. Which, in the case of the
25 red line, that's one out of every 14 -- one hour out of

1 every 14 months, historically. Which of course, in the
2 second half of the century becomes quite commonplace.

3 So, clearly, the message about adaptation needs
4 to be taken really seriously under, really, most of
5 these scenarios.

6 So, there you go.

7 MS. RAITT: Thank you very much.

8 Next is Katharine Reich, from the UCLA Institute
9 of Environment and Sustainability.

10 MS. REICH: All right. I'm not sure if you can
11 see me over the monitor. I should have worn heels.
12 Thank you for having me.

13 Alex Hall, whose work I'm representing today,
14 sends his regrets that he couldn't be here. He's at a
15 scientific meeting in the UK. So, you'll have to put up
16 with me.

17 And I'm going to give my usual I'm-not-a-
18 scientist disclaimer. I handle science, communication
19 and education within the group. So, I have not
20 conducted this research myself. But I'm going to give a
21 very high level summary of the climate scenarios that
22 we've created. And, hopefully, I'll be able to answer
23 your questions about it. If they're very technical, I
24 might have to go back to my team and get answers later.

25 So, just a little background on what we were

1 doing when we created these data, these climate
2 scenarios. They were created as part of a project on
3 future climate change, with a special focus on the
4 Sierra Nevada.

5 As Guido mentioned, we got external funding from
6 this project, from the Metabolic Studio, in partnership
7 with the Annenberg Foundation. And we also had
8 supplemental funding from the Department of Energy and
9 the National Science Foundation.

10 And in this project the team -- I'll use the
11 royal "we", even though I didn't actually do this
12 myself. We downscaled information from global climate
13 models to bring the information from very low resolution
14 to much higher resolution.

15 And Dan did a really nice job of giving you an
16 overview of what downscaling is and what the resolution
17 issues are in the global climate models. But I'm going
18 to spend just a second to help you visualize this
19 resolution issue.

20 So, this visualization is from a similar project
21 we did for the L.A. Region a couple of years ago. And
22 this is a zoom of the greater L.A. area, with the
23 resolution of a pretty high resolution global climate
24 model just layered over it.

25 So, what global climate model output is, is it's

1 outputted on a grid cell level. So, each of these grid
2 cells would have one value, say, for temperature, or
3 precipitation, or whatever the climate variable that
4 we're interested in for each particular time stamp we're
5 running the model at.

6 So, if you look at the example of -- I'll point
7 to this grid cell with Palmdale in it. You can see here
8 that this grid cell represents an area of very high
9 mountains and also of desert. So, one temperature value
10 for this region doesn't make sense. It probably
11 wouldn't represent the temperature in either place. So,
12 that's why we want to downscale to get a more realistic
13 picture of present climate, future climate.

14 So, this is a zoom in of the L.A. Region with
15 our grid resolution from our L.A. project applied. In
16 this example, we have a 2 kilometer grid resolution.
17 So, this just gives you a sense of now we're beginning
18 to resolve the topography and we can actually represent
19 climate in a realistic way.

20 So, as Dan summarized, there are two basic
21 techniques that climate scientists can use to downscale
22 global climate model data. There's dynamical
23 downscaling and there's statistical downscaling.

24 And dynamical downscaling involves actually
25 running output through a regional climate model that is

1 constructed like a GCM, a global climate model, but is
2 constructed to represent really fine -- or smaller areas
3 at a really fine spatial scale.

4 So, our methodology actually combines both of
5 these technique types. We do dynamical downscaling with
6 a smaller set of global climate models and then we do
7 statistical downscaling. We build a statistical model
8 that mimics the dynamical model, essentially. We use
9 the dynamical model output to create a new statistical
10 model.

11 So, our statistical model is a little bit
12 different than the methodology that Dan Cayan's group
13 uses. And since we already have, for the California
14 Climate Assessment, Dan Cayan's statistical output,
15 we're just offering the dynamical downscaling for
16 California's fourth climate change assessment.

17 So, here I'm just showing the geographical
18 extent of the data that we've created. So, we ran,
19 really, three sets of simulations. One pretty coarse
20 simulation. That's the Domain 1. A higher resolution
21 domain that covers all of California. And then we --
22 that's at 9 kilometer resolution.

23 And then we zoomed in on the Sierra Nevada
24 Region and went a little higher resolution. We have a
25 3-kilometer grid scale there.

1 So, all of this data would be available to the
2 fourth assessment effort. I think that, of particular
3 interest, will be the California-wide domain at 9
4 kilometers.

5 All right, so just to outline what the different
6 datasets are, the first one is a simulation of what we
7 call our baseline simulation of historical climate from
8 1981 to 2014. And we created that using a regional
9 climate model called the Weather Research and
10 Forecasting Model. And we forced that with, of course,
11 resolution data from the North American Regional
12 Reanalysis.

13 And then for future simulations, we covered the
14 period of 2091 to 2101, those water years. And we have
15 one representing each of the five GCMs that we
16 dynamically downscaled.

17 So, to create the future simulations, we looked
18 at the climate change signal between our historical
19 period and our future period in each GCM, and we used
20 that to perturb or adjust the historical North American
21 Regional Reanalysis data. And we used that perturbed
22 data to force the regional climate model.

23 So, the advantage of that method is that our
24 future period is essentially what would the historical
25 period have looked like if climate had warmed the amount

1 it's expected to warm by the end of the century.

2 So, what we're doing is we're taking out natural
3 variability in the GMC climate simulations and we're
4 just focusing on the climate change. The only
5 difference between our baseline period and our future
6 period is what you would see from climate change,
7 itself.

8 And Dan went over the different representative
9 concentration pathways, the different greenhouse gas
10 concentration scenarios that were used in the IPCC's
11 latest assessment report. And I just wanted to point
12 out that our future dynamical simulations represent the
13 RCP 8.5 scenario, which we call business as usual.

14 And just a few words about how we selected the
15 five global climate models that we -- that we downscaled
16 dynamically. So, what's on this plot is a scatter. We
17 looked at the change in temperature along the bottom
18 access and the change of precipitation along the Y
19 access. And all of the dots represent a different
20 global climate model in the 32 global climate models,
21 the CMIP5 latest generation GCM ensemble.

22 So, the ones that we selected span the space,
23 the uncertainty space in temperature and precipitation
24 change. And we did this because we were trying to build
25 a statistical model that would mimic the dynamical

1 model, so we were trying to sample all the different
2 possibilities.

3 So, one of our models is a hotter, drier model.
4 Another is a hotter, wetter model. Another one is a
5 little less hot, but wetter. Less hot and drier. And
6 then there's one that's very close to the ensemble mean
7 and the ensemble mean is represented by this star here.
8 So, we kind of spanned the uncertainty space and used
9 those five, the information from those five models,
10 together, to construct our statistical model.

11 So, this is just a list here, a partial list of
12 the variables that we have in our dynamical model runs,
13 and the temporal resolution at which we have them. So,
14 you know, the statistical data that's available to the
15 fourth assessment has -- I'm not sure which variables
16 you have exactly, Dan, but I think this is going to be a
17 slightly larger set of variables. And so, that might be
18 one advantage depending on what the application is of
19 the research. That some variables might be available
20 here, that are not available in the statistically
21 downscaled data.

22 And the temporal resolution's pretty high
23 because we were running this model dynamically. So, for
24 surface air temperature we have data points every 30
25 minutes. For all of the variables it's every six hours

1 throughout our simulation period.

2 And that is it. So, if you have any questions,
3 I'm happy to at least try to answer them. Thank you.

4 MS. RAITT: So, we have a little time for
5 questions of the panel or --

6 MR. FRANCO: So, I'm the Moderator, but I forgot
7 to prepare questions. So, I'm going to make them up.

8 So, the first question has to do, and actually,
9 it's a question to the audience, too, but you don't have
10 an opportunity to answer them.

11 I mean, after the conference of parties in
12 France, Club 21, it seems to me that the world has
13 changed a little bit in the sense that now we have
14 national pledge to reduce greenhouse gas emissions. So,
15 that also complicates the view of what may happen in the
16 future. Some may argue that the RCP 8.5 is no longer --
17 or, at least, it's not compatible within the INDCs.

18 At the same time, some people are kind of
19 skeptical that these INDCs, the emission scenarios that
20 are coming from Club 21, that they will actually
21 materialize.

22 At the same time some countries, like China,
23 they find it is to their own advantage to reduce
24 emissions for reasons other than climate change.

25 And every five years the countries of the world

1 are going to be updating their pledges. So, even though
2 this is not about climate scenarios, I would like to
3 hear your thoughts about this, about the future of the
4 global emissions at the global scale.

5 MR. CAYAN: Well, first of all I think in the
6 short range we are kind of committed to the higher
7 scenarios. That's pretty clear. Hopefully, in the
8 decade beyond range there will be adjustments.

9 I guess this underscores the need to be looking
10 at a broad set of scenarios.

11 But I think the other thing to be noted is that
12 even under very restricted emissions we are still
13 committed to climate change. So, there's certainly need
14 for investigation of potential impacts and in very
15 likely adaptation to phenomena such as sea level rise,
16 which has a long time scale that will be probably
17 confronting us.

18 So, Katharine, do you want to --

19 MS. REICH: So, I guess I would just piggy back
20 on Dan's point that regardless of the emission scenario
21 that we ultimately follow, and I hope that we follow the
22 scenario that would represent the Paris agreement, that
23 there are lags in the climate system. There are impacts
24 we'll feel by mid-century, at least. But that won't be
25 prevented by that action.

1 I wish I had the slide with me, I don't. But
2 from our L.A. study, we looked at temperature change
3 across the L.A. Region in the middle of the century and
4 at the end of the century. And we looked at our CP 8.5,
5 the business as usual scenario, and we looked at our CP
6 2.6, which I think we don't even really look at anymore
7 in the international conversation because it's deemed a
8 little unrealistic, a little too optimistic, now.

9 And at mid-century there wasn't a huge
10 difference between the two scenarios. In the RCP 2.6
11 you saw about 70 percent of the warming that you would
12 see under the business as usual scenario.

13 And where the two scenarios really diverge is at
14 the end of the century, where the RCP 2.6 scenario, the
15 warming kind of levels off and there's no additional
16 warming from the mid-century period.

17 But under business as usual, warming really
18 continues to rise. So, I think planning for business as
19 usual, as optimistic as I am about the Paris agreement
20 and countries' commitments, I think we still need to
21 understand what business as usual looks like, and what
22 that could entail for us.

23 MR. FRANCO: Thank you. So, one more question.
24 And this comes to your assertion that from now to 2050
25 we're almost committed, we're already committed

1 regardless of the emission pathway. Except for RCP 2.6,
2 but that seems to be too late.

3 So, for the fourth assessment, we're going to
4 assume that for the next 34 years that it's path
5 independent of the emission scenario. So, I think you
6 would agree that it is a good approach. But still, I
7 want you to say it for the record.

8 MS. REICH: For the record I think that's a good
9 approach.

10 MR. CAYAN: Well, I concur. But the other thing
11 I guess maybe should be said is that there's forms of
12 climate -- climate stress that will affect us whether or
13 not we have climate change. And I'm thinking of
14 phenomena such as drought.

15 And one of the things that I failed to mention
16 in my remarks is the fact that we are, in the next
17 several months, going to be constructing an extended dry
18 scenario for the State. Now, likely that will be piggy
19 backing on top of a temperature regime which is warmer
20 than today. But it would be a mistake if California is
21 not looking at the prospects of a multi-year, if not of
22 a decade plus of dry conditions. We've already seen
23 some symptoms of something like that. And I think
24 that's something we have to prepare for.

25 MR. FRANCO: So, that's it for this session,

1 Commissioners.

2 COMMISSIONER DOUGLAS: Well, thank you.

3 MR. FRANCO: Any questions?

4 COMMISSIONER DOUGLAS: I don't think we have any
5 questions. But I really appreciate the presentations
6 and your questions, Guido, thank you. Thanks to all of
7 you and we'll go on to the next panel.

8 MS. RAITT: So, if the folks in the next panel
9 could go ahead and take seats at the front tables, we
10 have spots for you.

11 The next panel is on Adaptation Efforts: A
12 Practitioner Panel Discussion.

13 And we have an opening presentation from Dr.
14 Susanne Moser. And then we have the Moderator is Dr.
15 Louise Bedsworth.

16 DR. MOSER: Thank you very much. Thank you,
17 Commissioner, for inviting me in. Hello, ladies and
18 gentlemen. For the record, Guido talked to me about
19 communicating path independence for the next 30 years.
20 Let's not talk about it that way.

21 Anyway, I'll just move right into my
22 presentation. Commissioner, you asked me to frame up
23 the link between the science that we just heard, amazing
24 advances on the scientific side, with what people in
25 utilities, in communities, on the ground in business

1 have to do.

2 And the way I want to frame this is through
3 three lenses. One of them is, and this gets into a body
4 of science in the social science arena that looks at
5 what makes the interaction between science and policy
6 and practice effective? What do we know about that?
7 Because I think that will really much frame the guidance
8 that you, in the Commission, will provide, and how to
9 make that link effectively between science and policy.

10 The second one, which came out really well, I
11 think, in one of the slides Katharine just presented, is
12 this dotted diagram of, you know, models come up with 17
13 different results on model projections. What does that
14 mean? From a scientific perspective that's fascinating
15 and interesting to reduce that uncertainty. From a
16 practitioner's perspective that's a nightmare. So, how
17 do we deal with that kind of challenge?

18 And then, finally, how do we actually move that
19 into practical adaptation planning.

20 So, let me just jump right in here with this.
21 This is, in a way, what I'm showing here how we've
22 thought about science/policy interactions for a very
23 long time. A bunch of research funding goes into the
24 pipe on one end. We're going to do pure research which
25 somehow will magically open up possibilities for

1 application. We're going to develop that and ready for
2 application. And then somehow, magically, society will
3 gain some benefit from that.

4 And you can almost see how, you know, this is
5 our setup, right. You had the science presentations
6 first, after a bit of context setting this morning. And
7 now, utilities, go forth and do your thing. And if
8 we're lucky, maybe -- I'm just picking on Cal-Adapt, not
9 intentionally. It could have been the Console, or
10 CoSMoS or anyone. We have these little platforms in
11 between that dish it up a little bit more user friendly.
12 Well, thank you very much, that's helpful.

13 But is that really the most effective way of
14 interacting? Well, everything we've learned in this
15 body of work on science/policy and practice interaction
16 tells us that's actually not what happens and it never
17 works well.

18 What happens instead and, you know, this model
19 sort of was based on the assumption that there are a
20 bunch of experts who have the knowledge, and a bunch of
21 other people who don't have knowledge, so let's shove it
22 from one side to the other.

23 Well, the newer way of thinking is that there's
24 a whole bunch of experts in different arenas. Everyone
25 has another piece of the elephant, basically. And the

1 point is that we need to get people to interact and talk
2 to each other more effectively.

3 So, how do we do that? Here is basically what
4 people call transdisciplinary work, so not just working
5 across disciplines, but across academia with people in
6 policy and practice.

7 And it begins with setting a common vision,
8 setting the research agenda together. By hearing
9 exactly what it is that practitioners need, what do we
10 already know, where are the frontiers of science,
11 defining that together and then developing that
12 knowledge together, seeing how it works when you use
13 that knowledge, evaluating that from all of the
14 different perspectives and feeding that back into the
15 new generation of the next research agenda.

16 We're moving in that direction here, in
17 California. We're still far too heavily based on the
18 old model of the pipeline.

19 That new way of thinking about it really has
20 five different elements to it. And I cannot emphasize
21 enough how important it is to pay attention to each one.
22 And it seems to me so far, where we have made progress,
23 is with the joint problem framing.

24 and in some ways this workshop here, today, and
25 other research agenda-setting exercises have had that

1 element in it. Basically, both sides contributing to
2 identifying what are the questions we really need
3 answers to.

4 But co-production goes further. It actually
5 says, you know, you have some data. You can generate
6 some data. Let's do that together and then integrate
7 that into knowledge production.

8 Co-dissemination, a really interesting thing.
9 So, it's not just the scientists giving the talks, but
10 it's actually the message being carried by translators
11 and by people using it. And saying, here is what we've
12 done together, here is how this helps us.

13 Checking on how it works to implement it. And I
14 can just say right here, this is a moment that makes
15 many, many scientists highly uncomfortable. To be in
16 the middle of action, of decisions, whoa, not my
17 bailiwick, thank you very much. But this is the
18 challenge to the scientists, right, and to have
19 scientists be in the middle of that. And then
20 evaluating how did that work.

21 So, there are different phases and different
22 challenges we all have to learn to work together in a
23 new way.

24 There is a growing body of work on how this is
25 done well and I'm going to just highlight a few items

1 around this.

2 So, one thing we have learned is what makes
3 information actually useful? One of them is that it's
4 actually relevant. It's not just, you know, the global
5 projections. It's something that is specific, has high
6 resolution, has linkages across issues. And I want to
7 just say sometimes these go counter each other.

8 So, all this emphasis in the last five, ten
9 years or so on downscaling -- I love to say downscaling
10 to the small toe is -- you know, we get exactly a
11 picture of what happens right here, in front of my nose.
12 And we forget that we live increasingly in a globally
13 interconnected world.

14 The Thai floods in 2011, they happened very far
15 away and globally caused a \$43 billion impact on
16 industry all over the world, including Silicon Valley.
17 So, it doesn't matter if San Jose only plans for itself,
18 right, or Palo Alto. It needs to know what do my
19 suppliers in faraway places do.

20 And as the energy sector, you are highly
21 interconnected. Do not only look at what happens,
22 right, to your facilities right there. That would be a
23 mistake.

24 Credibility. That's another one of the
25 attributes. If the information is not credible or we

1 don't perceive it as credible, not a good idea.

2 The process through which it has been created is
3 viewed as legitimate by all parties involved. It
4 actually makes work easier. I can, you know, do
5 something with that. It makes my life not just more
6 complicated and I can easily update that over time.

7 So, those are just five dimensions of if you
8 don't meet those criteria, it's very likely that all
9 this wonderful science is not going to go anywhere.

10 Now, I just want to, again, point to an example
11 of what we've heard this morning to elevate sort of the
12 difficult challenges we face, the barriers between
13 having science on the one hand and making good use of
14 it.

15 I'm going to pick on, just for the sake of
16 example, the Console. Amazing what we can do now,
17 scientifically, in visualizing the dynamic changes in
18 ecosystems.

19 And the presenter made a comment about it, would
20 you like to have a hot and wet future or a hot and dry
21 future? You can play with that, right, it's like a
22 game.

23 Well, the rest of you make decisions and you
24 only get one future. One of them. And you don't know
25 which one. So, what are you planning for? You know, so

1 that really it's like, for the scientists, it's a
2 conceptual challenge that just is amazing to work on and
3 build a career around.

4 For someone in the practice world, it's like
5 tell me what to do, give me that one target. I think
6 Deborah mentioned this, this morning.

7 So, there's a very important piece of work we
8 need to do. Not just produce the science through
9 collecting data, modeling it, testing those models,
10 refining them, monitoring how they fare against the real
11 world.

12 And you, on the practice side, don't just get to
13 plan and invest, and mobilize, and do all the work that
14 you need to do. There's a very important task in the
15 middle. And that's the task we tend to forget again,
16 and again in California.

17 I just want to -- not only here, but we do
18 forget it here, too. And Cal-Adapt, alone, does not do
19 that. All the CoSMoS in the world will not take care of
20 that. To identify what are the needs of decision maker,
21 to integrate knowledge across different disciplines and
22 understandings. To broker understanding.

23 This morning we had, you know, this discovery,
24 we need more people to be trained in how to use this
25 model. We could have told you this 20 years ago. I

1 mean, this is something we understand. People don't use
2 models just because they're out there.

3 You know, if I gave you a new software to write
4 you text with and you had never used it, how likely are
5 you to take on a completely new software to do what you
6 already know how to do really well with the existing
7 one?

8 Right, there's a huge hurdle we all have. But
9 we're just giving one more tool, one more tool, one more
10 tool to the next person. That's not enough.

11 Sometimes just answering the questions that
12 decision makers is not enough. You need to change the
13 environment in which decisions get made. Educate the
14 public so that they can do the -- you know, the right
15 voting, if you will.

16 Sometimes it's a matter of generating new ideas.
17 You know, we're all used to doing the same thing over
18 and over. But what about generating new solutions.
19 That's a form of being very helpful that we're not
20 spending enough time on.

21 And more difficult, maybe, might be to be
22 critical and both ways. The practitioner's critical of
23 what the science does and the scientists critical of
24 what politicians or managers do.

25 So, let me turn to the issue of uncertainty,

1 which I think is just a really, really challenging one
2 to wrap our brains around.

3 There's more ways to get from here to the
4 future. What this picture, this comes out as a most
5 recent IPCC showed, is that right now we're in a
6 situation where we already have five physical stressors,
7 social stressors that together sort of bound the space
8 we have to respond to whatever comes. Whether that's a
9 terrorist attack, whether that's the next drought,
10 whether that's the next flood, whatever it is.

11 Now, we're being asked to essentially bring down
12 those biophysical stressors by radically reducing our
13 emissions. That would be a really great thing to do.
14 And at the same time we're supposed to build up the
15 space that we have to deal with responses.

16 The good thing is that there is more than one
17 path to get from here to there. But there are decisions
18 you make every few years, however often you change
19 directions in your decisions, that could go one way or
20 the other.

21 So, the question is, really, how can we always
22 turn, if you will, towards the high resilience, low risk
23 direction?

24 Now, what I want to say about science, and in
25 particular about scientific uncertainty, is that there

1 is no knowledge that is inherently valuable to a
2 decision maker, and none that is inherently certain
3 enough.

4 In the scientific community we've said, for
5 probably the better part of 20, 30 years, that the
6 science is good enough.

7 Jim Hanson, in 1988, said, you know, let's stop
8 waffling and get on with the business of reducing
9 emissions. That was a long time ago.

10 So, you know, be that as it may, whether you
11 agreed with him about this, but there is nothing
12 inherent in science that is every enough for a decision
13 maker to move that forward.

14 And the same is true for uncertainty. But at
15 the same time, every form of knowledge can attain a
16 value in someone's eye, in some context to be good
17 enough and to make it relevant.

18 Now, how do we do that? In some ways, in the
19 scientific we basically say, well, we put it out there,
20 magic happens and then it somehow gets used in science.
21 Well, under what circumstances? There is actually a
22 science to that magic, what is it?

23 On the positive side, when someone is personally
24 motivated, I am committed to doing this. I'm going to
25 take this forward. Whatever that science is, is going

1 to be good enough.

2 I mean, there are many, many business leaders
3 who have, a long time ago, chose to act on the
4 information. You know, we were less certain then than
5 we are maybe now. We understood less. It was enough
6 for them.

7 When it's a political motivation. I mean, this
8 is why, you know, in the first Obama administration we
9 couldn't get anywhere because it was viewed as a
10 political risk to take on climate change in view of the
11 next election cycle. So, political motivation was not
12 high enough.

13 If people see an economic advantage. This is an
14 argument made in this State many, many times. That, you
15 know, acting on climate change, moving into the space of
16 renewables will open up markets and we will all benefit
17 in the State.

18 That's why a lot of -- you know, Schwarzenegger
19 and everybody else since then basically has moved on
20 that.

21 There are liabilities, on the other hand, that
22 can also be motivators, maybe negative motivators. And
23 that is if you do not act, maybe your reputation will
24 not be as good. And, you know, in the business, in the
25 market than can matter.

1 Economic liabilities. You invest money and it's
2 a sunk investment. Not a good idea.

3 Or, maybe if it's either a political or a legal
4 requirement or by -- you know, I just want to add that
5 to it, possibly a legal liability, where someone could
6 come after you and say, well, you didn't take care of
7 business when you had the chance to.

8 The more that becomes a legal reality and it is
9 beginning to become that in the global market, the more
10 these things, even if they're scientifically uncertain,
11 will become political certainties.

12 Now, in that space what do we do? If you will,
13 the space that you have for adaptation is bounded by two
14 conditions. On the one hand, you can imagine that no
15 matter what the climate will do, the impacts will just
16 not be significant for you. It's not something that you
17 need to worry about. I don't know many things, you
18 know, in this sector that will be in that category. But
19 that could be on one end, that you don't have to deal
20 with it.

21 But on the other hand, no matter what you do
22 adaptation wise, the losses are significant. It's what
23 we do in triage, right? We sort of, in between those
24 things, you figure out what's the patient you can
25 actually make a difference on.

1 And so, that's really where adaptation promises
2 to make the biggest difference. And then the question
3 arises, so within that what is the scope of what you
4 should undertake? What's the scale? With what urgency
5 should you undertake those? What are the risks and
6 benefits, not of the impact, but of taking the action?
7 And who needs to be involved? How feasible is it to
8 make it happen?

9 Let me just paint this picture here for you.
10 What it shows here, from the green on the left-hand side
11 to the red on the other is, basically, can you act on
12 these things now versus can you delay?

13 And so, the greater the uncertainty, the greater
14 far out into the future, the less you can work on it
15 right now.

16 But what's interesting is, and this is kind of
17 where we have been for many years now, in this country
18 and elsewhere, is that the building of capacity where we
19 do more monitoring, more research, more awareness
20 building, education, training ourselves up that is the
21 capacity building end of things that we have dealt with.
22 And that's really helpful. That is the basis on which
23 we will do a lot more.

24 But in the short term, there are things you can
25 do that will be good no matter what the climate scenario

1 will be. And for the long term you can begin to now
2 assess, already, how do we deal with that? How do we
3 solve that problem when it gets there? If it gets
4 there? At least if you start now to think about it,
5 you'll have an answer, as opposed to being behind the
6 eight ball when you get there.

7 Now, I want to show you how this maybe, might
8 play out in one particular context. What you see here,
9 you've seen now in various ways, several times today, is
10 the San Francisco sea level rise curve. And you see
11 this is the 7 to 8 inches of sea level rise we've seen
12 over the century. And, of course, there are many folks
13 in the scientific community who would say, you know, in
14 the near term what really matters are these El Nino
15 events, because they really give us the sort of most
16 damaging events.

17 What's interesting is to think about if that sea
18 level rise had not happened, right? So, just pick for
19 example, the last major El Nino, '97-'98, and use that
20 same 13 inches on sea level rise extra, and you just
21 impose that over the sea level from 1900. Well, in
22 Santa Cruz we would say that's a good day of surfing.
23 Right? That's basically if we had not had 7 to 8 inches
24 of sea level rise, it would just be another day at the
25 beach and we would have a good time.

1 Now, given that we had just 7 to 8 inches, we
2 have had multiple tens of millions of dollars of damage.
3 That's the difference that 7 to 8 inches make.

4 So, do not tell me it doesn't matter to not
5 think of, you know, the extreme events plus sea level
6 rise. Both of them matter already. Even though you
7 will mostly see it show up in the extreme events right
8 now.

9 But now we're looking at these kinds of
10 projections. This is from the previous assessment done
11 for California and this is what it looks like. You've
12 seen that. And if you just now divide, maybe, the last
13 century and the coming one, these are the projections.
14 You've heard them, I don't need to repeat them. This is
15 the stuff that we thought it was before. Now, we're
16 obviously considering much higher sea level rise.

17 Now, just let's divide this into 50-year
18 increments and think about the rise expected in each of
19 these increments. So, it was 3 inches, then 4 inches.
20 The next 50 years is, you know, three times that much.
21 And then, another three to four times that much.

22 In other words, things are accelerating. What
23 does that mean for our planning? I want to tell you or
24 turn this into maybe a way of framing uncertainty for
25 you in a new way.

1 Let's just -- here's where we are. This is
2 2016. And let's just assume you have some energy
3 facility that sits at maybe a half a meter above current
4 sea level rise, right. You basically would say it's
5 safe until it is a half a meter higher.

6 Well, if we're on this track, on one of the
7 lowest scenarios currently out there, then you have 85
8 years to figure out a solution. You probably would not
9 spend your day going back to the office, trying to
10 figure that out.

11 Let's just say we're on one of those higher
12 scenarios, four feet, which is well within the envelope
13 of what California came up with. All of the sudden that
14 shrinks to 40.

15 I think it was you who earlier asked how long do
16 you need to figure out what to do? That was the
17 question you asked this morning, in your presentation.

18 So, if it takes -- or somebody else also said it
19 took 25 years to come up with a solution. So, you know,
20 to get the money, to get the permitting, to do the
21 planning, to raise the funds, whatever, to make it then
22 happen on the ground, right. So, we don't have endless
23 amounts of time to make these things happen.

24 Now, let's assume we're on the highest end of
25 this particular set of projections. Then you have to do

1 this in 11 years. What are you going to do this
2 afternoon? Right, it's a whole different question
3 depending on where we are on that curve, how much time
4 you have to solve the problem.

5 That's how I believe scientific uncertainty can
6 become decision relevant. And that is what I think we
7 need to provide in future guidance to people. To say,
8 you know, we don't -- we cannot tell you exactly which
9 one it is, even though I think it's a mistake to think
10 that it is -- you know, that you only have to ask the
11 physical scientists about which is more likely.

12 We know a lot about institutional pathways. We
13 know a lot about legacies. How fast we can or cannot
14 change people's minds on things, and change
15 institutional practices, market structures and whatnot.

16 So, there is a lot of reason to believe we're on
17 a higher end of the spectrum. They're not equally
18 likely. So, I think you have less time.

19 Okay, one quick, one bit more on the scenarios
20 and going forward. So, climate change is just one
21 factor in what you do. There are many other things,
22 market objectives you have. How to frame that? This
23 would be my question to you. What keeps you up at
24 night? What conditions in your business, in your
25 utility, what do you change? That is an outcome you

1 don't want to see because it threatens the functioning
2 of your utility, of your system, of your community,
3 whatever it is.

4 You can trace that back, on the one hand, to the
5 climate scenarios, to the physical impacts. You can
6 have subjective probabilities and that gives you at
7 least one risk factor.

8 You need to consider the other stresses on your
9 system and whether or not you're capable of dealing with
10 it. And if not, you cannot assess what you're really
11 vulnerable in. And then, you know, by that you can then
12 chose which ones to focus on first, which ones to focus
13 on second.

14 But in so many instances we don't know what the
15 future is and so we need to go into scenario planning.
16 I won't have time to go into this, I'll just skip
17 through it. And just want to point here to robust
18 decision making, which is a kind of form of analysis we
19 have now good experience with, and has been used in this
20 State, that gives you the space where you have fewer
21 options, high uncertainty and high complexity of a
22 system.

23 So, for things like utilities, that is probably
24 the place to go with planning for the future.

25 So, all of this probably sounds like, uh-oh, a

1 lot of engagement, a lot of time we need to spend with
2 talking with people. And in many ways, you might feel
3 like we don't have that time. The enemies of process,
4 people are fatigued. You know, we ask them a thousand
5 times, no end in sight.

6 Well, here is the risk if you don't do that.
7 The chances of doing something that makes things worse
8 in the future. The chances you don't do enough. The
9 chances that you miss opportunities, both from a
10 business perspective and changing technologies, or
11 simply waste people's time and money.

12 So, I think there are a lot of reasons not to do
13 this and to invest in the time. It will save you time
14 later.

15 So with that, I will just close because I have
16 run out of time. This decision relevance does not
17 happen by just handing things to people. It results
18 from ongoing interaction between science and practice.
19 We can identify what's climate sensitive, turn that into
20 how much time do we have to get ready and, you know,
21 identify approaches that are both robust, but also give
22 us chances to change course in the future.

23 And in light of the great uncertainty, planning
24 for multiple futures through the input of multiple
25 internal and external perspectives I think is the only

1 way to get to something that is defensible as a decision
2 and planning process. Thank you.

3 COMMISSIONER DOUGLAS: Thank you.

4 MS. RAITT: Thank you very much. Sorry to rush
5 you.

6 Our next speaker is Larry Greene.

7 MR. GREENE: Good afternoon. My name is Larry
8 Greene. I'm the Director at the Sacramento Metropolitan
9 Air Quality Management District. And I am the Chair of
10 ARCCA this year.

11 And I wanted to cover some things here about
12 what we do, and why we were formed, and how we came
13 together. ARCCA came together in 2012, as a result of a
14 meeting that was being held in L.A., where it was
15 recognized by all the players, some of the players are
16 in this room today, that we needed to have a place where
17 we could have regional conversations across California.
18 And then, we needed a way for those regional
19 conversations to inform State agencies, staff who were
20 developing plans at the State level about what the
21 regions were thinking on a range of topics that I'll be
22 covering here, in this.

23 We started out with three collaboratives, the
24 Bay Area, L.A. and San Diego. Quickly added Sacramento
25 and Sierra Camp, which covers the Sierras.

1 And you can see that that covers about 80
2 percent of the State. Not everywhere. It doesn't cover
3 Central Valley. Central Coast is now forming a
4 collaborative, they're pretty much underway, now. And
5 we have heard some ideas and thoughts about the North
6 State.

7 I would say that each of these collaboratives is
8 framed around the active agencies in those regions. The
9 Bay Area has a different group of organizations than
10 L.A. has, than San Diego has. And Sacramento and Sierra
11 Camp I think are important because the other three are
12 all on the coast, and we're very focused on coastal sea
13 level rise. Where the Sacramento and Sierra Camp are
14 more focused on fire, more impacted potentially by the
15 drought, and by the urban/rural interface kind of
16 issues. Although, everyone is impacted by that around
17 water.

18 The working successes that we've done, we have
19 brought a regional voice to the State since that time.
20 We were named as a resource for State agencies in the
21 Climate Change Research Plan, the Governor's Executive
22 Order. And we are working on the Technical Advisory
23 Group. We have a range of members there.

24 We have also been engaged by State agencies, by
25 your agency on the climate vulnerability of natural gas

1 pipelines. We're doing work for you on that, for the
2 CEC. And we have done a number of briefings in the
3 Senate on the environmental quality, on adaptation, sea
4 level rise. We've talked to the Little Hoover
5 Commission, also. So, we have been called upon by the
6 State at that level to brief about, and to be part of
7 briefings about adaptation.

8 We have developed some real important resources,
9 I think, for collaboratives, both in California and
10 across the nation. We have a model tool kit for
11 collaboratives. We are supporting this Central Coast
12 Collaborative that you saw, with we're going down and
13 helping them to get set up. And we have participated at
14 the national level, also.

15 We have on our website, that you see here,
16 principles of adaptation and collaboration that are very
17 clear principles for how you put together collaborative
18 efforts in California and how you should be thinking
19 about adaptation.

20 And one key area that that does focus on, and we
21 have had as a theme throughout our whole effort, is
22 equity communities. How do we reach those communities?
23 And each of the collaboratives has a part of their
24 mission reaching out to those equity communities in the
25 various parts of the State.

1 And in outreach and education we're very active
2 in the national adaptation forums. We've worked at the
3 federal level, also, on the federal programs.

4 We have hosted learning sessions on adaptation,
5 funding through resilience bonds, and other types of
6 activities.

7 And importantly, all the collaboratives
8 regularly have, generally, quarterly meetings where
9 their membership meets. I can't emphasize how important
10 that is at our level.

11 For example, in Sacramento we've had meetings on
12 water, we've had meetings on business resilience,
13 especially around small business. We had one around
14 energy and it was interesting that PG&E, and SMUD, and
15 Roseville Electric were actually in the room, in a
16 nonthreatening environment, where they could actually
17 exchange information.

18 And some really interesting conversations came
19 out of that because we were, you know, brainstorming
20 that. But it was important because they had water
21 folks, they had city and county folks, they had
22 nonprofit folks. And some of the, like I said,
23 environmental people that are not normally in the room
24 with them, in that kind of conversation. We really had
25 some robust developments that came out of that.

1 So, while it's important for ARCCA to represent
2 the collaboratives at the State level and work with the
3 State agencies, we have similar important work that's
4 being done at the regional organizations.

5 These are examples of some of the efforts and
6 work that we've done. The Bay Area, as you know, just
7 passed the adaptation tax, \$12 annual parcel tax.
8 That's going to be really important for the Bay Area
9 communities and their collaborative worked very hard on
10 that.

11 The San Diego Collaborative is working with all
12 their cities, but in particular with the City of San
13 Diego, it's Climate Action Plan, and they're heavily
14 involved in that.

15 And then L.A., of course the cool roofs effort
16 came out of L.A. It's very important. We're trying to
17 replicate that in Sacramento.

18 And one of the interesting things at our ARCCA
19 meetings is we learn from each other and we've tried to
20 take some of the lessons from other parts of the State,
21 that have been relevant to, say, Sacramento. And we're
22 trying to adopt that cool roofs initiative in
23 Sacramento.

24 So, issues and lessons learned. This is the
25 most important slide here, I think. State agencies are

1 organized around mission sectors, fire, water,
2 agriculture. So, and cities and counties are organized
3 around local issues, their areas of authority, and State
4 and federal responsibilities.

5 But adaptation issues don't follow that
6 framework. They follow watersheds, flood plains,
7 forests, river systems, and we haven't developed, in the
8 State, or even across the whole nation, a way to have
9 those conversations at that scale.

10 So, what the collaboratives, they actually were
11 filling the void for a place to have conversations
12 around at the watershed scale or at the flood plain
13 scale. So, that's the kind of things that happen often
14 in our conversations.

15 We also found that many -- the adaptation
16 conversation is easy because we've had flood agencies,
17 we've had fire districts, and forestry agencies, and the
18 State Water Board. So, people in California are
19 familiar talking about those issues. And when we go
20 out, it's not talking about some esoteric UN idea or
21 plan, it's talking about what's happening in your
22 forest, outside your door. People are used to that.

23 So, we have found that, for example, you have a
24 very robust collaborative in the Sierras. You wouldn't
25 think that, but they have a great conversation because

1 they've seen fires every year, and drought, and they
2 have the tree die off. So, talking about adapting to
3 climate change is an easy conversation up there if you
4 focus on those particular issues.

5 And as I noted, that's really important,
6 happening at the regional level.

7 However, what happens is that if the State has a
8 particular topic they want to cover, different
9 collaboratives have different information because one
10 collaborative may be better with forests. Somebody else
11 may be very familiar with sea level rise.

12 So, when we send out requests from the State for
13 commenting on a particular document, we get
14 conversations from different collaboratives based on
15 their expertise. So, what you're really doing is you're
16 reaching down into the local regions of the State and
17 pulling the experts in those areas, with a regional
18 voice on different topics, and different collaboratives
19 depending on that topic.

20 So, what do we need? What can we do to help?
21 Well, I think, personally, that the most difficult thing
22 revolves around building a structure where
23 collaboratives can regularly inform the State and
24 they're called out. Now, we've already started that to
25 some degree, as I mentioned earlier, about the

1 Governor's Executive Order and some of the work we're
2 doing structurally. So, we already have a connection to
3 the State agencies. In particular, to OPR.

4 But funding, and funding that administrative
5 process, having -- you all know that when you have a
6 nonprofit or that kind of an organization, and you go
7 out and get grant for agencies, well, they want you to
8 do work for those. You have a little bit of admin money
9 and then you have to do the work.

10 What you really need is somebody to host the
11 meetings, to do the web page, to do the minutes, and to
12 keep the process going. And that's what all the
13 collaboratives have struggled with that, but we have
14 maintained that operation and we're continuing to work
15 to try to find a solution to that.

16 So, if you ask me what the most difficult thing
17 moving forward for the collaboratives is, it's funding
18 that structural integrity over time, keeping that in
19 place, so we have something to offer new members and
20 people that are working there. And so that we can be
21 there year after year for the State agencies, as they
22 move. Because the State agencies are going to be there.
23 We need to be there, too, as they move to the next
24 climate plan, or the next plan that they're working on.

25 So, that's my presentation. Any questions?

1 COMMISSIONER DOUGLAS: I think not yet. Some
2 come to mind, but I think we'll hold off until we hear
3 from the panel. Thank you, Larry.

4 MS. RAITT: Thank you. The next is Neil Millar,
5 from the California Independent System Operator.

6 MR. MILLAR: Good afternoon and thank you for
7 the opportunity to present today.

8 The first thing I wanted to do is just spend a
9 minute touching on the role of the California
10 Independent System Operator, for people in the room that
11 might not be familiar with our functions.

12 The ISO really has five major roles. Overseeing
13 the day-to-day operation of the transmission grid to
14 ensure that the system is reliable, and efficient, and
15 effective. Operating the spot markets, both day-ahead
16 and real time, for about 80 percent of the State of
17 California and a little bit of Nevada.

18 Although now, also, with our energy imbalance
19 market, we're reaching further afield into other states,
20 as well.

21 We provide open access to the transmission
22 system for our portion of the California grid. We
23 manage generator interconnections to that grid. And we
24 also plan and identify future transmission needs.

25 Now, we mentioned the infrastructure needs but,

1 more frequently these days, we're also exploring other,
2 preferred resources as alternatives to transmission
3 infrastructure.

4 And the department I'm with are responsible for
5 the last two of those bullets, the generator
6 interconnection processes and the underlined bullet
7 about planning new infrastructure needs.

8 The session today has really highlighted for me
9 where there are a lot of linkages between what we're
10 hearing today and a number of the issues that we're
11 having to come to terms with in terms of climate
12 adaptation and how it affects the grid, itself.

13 The first issue, the most obviously I think, in
14 some circumstances, is the physical resilience of the
15 assets. The transmission system, itself. Can it
16 survive the new and more extreme events that it's being
17 exposed to?

18 The transmission owners within the ISO footprint
19 are responsible for leading that initiative. And I
20 think you heard a presentation this morning about their
21 efforts. And on a later panel, several of the
22 transmission owners within our footprint are
23 represented. So, they're focusing there, particularly
24 on the resilience of the assets that we already have and
25 the design standards around those assets in the future.

1 That includes issues like sea level threat, fire risk,
2 flooding and other risks that more extreme events can
3 impose on those assets.

4 When we're looking at planning for future needs,
5 we also have to look more broadly, though, at the other
6 issues. The first is the impact of climate change on
7 customer issues. That could include there are
8 requirements for different kinds of loading, for
9 increased air conditioning loads to accommodate high
10 temperatures.

11 But it also brings with it the other issues that
12 are behind the meter. One of our concerns, especially
13 in the San Diego area, is the risk of high temperatures
14 also increasing the frequency of monsoonal heat
15 conditions. Where we could see high temperatures, humid
16 conditions, but also cloud cover that decreased the
17 effectiveness of the behind-the-meter rooftop solar
18 generation that many customers are installing.

19 So, our forecast for what's needed from the grid
20 could be completely off, based on what's happening in
21 that scenario.

22 On the supply side, there are issues that affect
23 those conditions as well. The most obvious is the risk
24 of lengthened or sustained drought condition that limits
25 hydro output, especially in areas where we're counting

1 on local hydro resources to maintain local reliability.

2 Last year, in our transmission planning process,
3 Southern California Edison brought forward a proposal
4 for just such an issue, to reinforce the transmission
5 system to account for the risk of an even further
6 sustained drought conditions affecting some of the
7 resources. And we're having to do more work on that.
8 Because the framework really isn't in place today to
9 support coming up with an actionable decision on that
10 kind of situation. But that's something we're working
11 on.

12 The planning criteria themselves, that are used
13 to plan the transmission system and to maintain
14 reliability for customers, also needs a second look.
15 Most of the criteria itself, developed over the last
16 hundred years of experience of what provided a
17 reasonably affordable system and a reasonably acceptable
18 level of reliability.

19 Now, as we move to a pretty dramatic change in
20 the conditions those systems can be facing, that means
21 needing to take a second look. There are cases already
22 in California where we've been developing additional
23 planning standards beyond the minimum mandatory
24 standards that are applied across North America to
25 address specific concerns.

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 Those haven't reached so far, yet, into the
2 situation of climate change. One better example is the
3 criteria we developed specifically to address
4 reliability risks in the San Francisco Peninsula area
5 related to the earthquake risk. So, obviously a
6 different circumstance. But the requirement to adapt
7 and develop local criteria to provide acceptable
8 service, it's a good example of that regard.

9 The other issue that I see needing to face for
10 us as we move forward and take on a bit more focused
11 look at what we need to do for the adaptation issue, is
12 the alignment of the statewide agency coordination.

13 We're responsible for identifying certain needs,
14 getting our board to approve projects. Some lucky
15 utility or other party is then obliged to actually try
16 to get those facilities built. That requires
17 coordination throughout extensive permitting and
18 engineering processes.

19 And if the State agencies aren't on the same
20 page regarding the need to address some of these issues,
21 then that can cause trouble downstream in actually
22 getting those projects through to completion. So,
23 effective alignment is pretty important there.

24 The last issue I wanted to touch on, though,
25 isn't actually on these slides, but it ties to it, and

1 that was the issue around the scenario planning and the
2 scenario approaches.

3 We follow scenario approaches pretty
4 consistently through our planning activities, but
5 looking at these environmental scenarios also draws out
6 for us a very important issue, and that's the causal
7 link between some of the parameters.

8 Historically, many of the risks we face tend to
9 be treated as, basically, independent variables. You
10 might have a heat wave. You might have a fire risk.
11 You might have a monsoonal heat situation.

12 What I don't believe we've taking into account,
13 yet, and need to focus on more in the future, is the
14 links that it is the high heat wave that's also driving
15 your fire risk, or your high heat wave, extended heat
16 wave could actually be triggering more of the monsoonal
17 heat wave risk.

18 That the scenario approach in understanding
19 those causal links and looking at those scenarios in
20 aggregate or more holistically, rather than treating
21 each risk as an independent variable that is more or
22 less unlikely to occur at the same time as another, that
23 that would just be extremely bad luck that,
24 unfortunately, it's not luck. There are causal links
25 that we need to take into account. And that's one issue

1 that I think we need to move more aggressively on in the
2 future is exploring those links.

3 And that's where I see us turning more to some
4 of these environmental scenarios, climate scenarios that
5 are being developed to help better understand the
6 linkages.

7 So, those were just the opening comments. I'll
8 be looking forward to questions later, through the
9 session. Thank you.

10 MS. RAITT: Thank you, Neil.

11 Next is Whitney Albright from the California
12 Department of Fish and Wildlife.

13 MS. ALBRIGHT: And I don't have a Power Point,
14 so you'll just have to use your imagination.

15 So, hi everyone, my name is Whitney Albright.
16 I'm a Climate Coordinator with Department of Fish and
17 Wildlife. And as many of you know, the Department is
18 responsible for protecting and managing fish, wildlife,
19 and habits in the State, both for their intrinsic value,
20 as well as for their use and enjoyment by the public.

21 So, given that mission we have a pretty wide
22 variety of responsibilities. We do things from
23 conservation and restoration to law enforcement,
24 outreach and education, environmental review, and
25 permitting, and so on.

1 And my role at the Department is to support
2 climate adaptation and mitigation activities Department
3 wide. So, I work with a lot of different staff across a
4 variety of programs. I work on a lot of different types
5 of climate-related projects, like different climate
6 education initiatives, climate change research,
7 adaptation planning, et cetera.

8 So, that's just a little bit, a quick
9 background. And my presentation today might be a little
10 bit different from some of the others we've heard in
11 that I'm planning to talk about a few different climate
12 adaptation projects that we have ongoing. And they
13 don't necessarily all have a primary focus on energy,
14 but I'm hoping to sort of draw the connection between
15 conservation and these different energy issues. And
16 talk about how we're using a lot of the same types of
17 climate data and information, but for a slightly
18 different application.

19 So, I picked three different projects to talk
20 about just briefly today. The first one is the
21 California State Wildlife Action Plan revision. So, the
22 Wildlife Action Plan is a conservation blueprint for the
23 State. And the first plan was completed in 2005. And
24 we're required to update that plan every 10 years. So,
25 we just finished this latest revision at the end of

1 2015.

2 And for the SWAP revision, we incorporated a lot
3 of different climate change information throughout the
4 revision process and also throughout the document,
5 itself. We pulled in climate vulnerability information
6 to help us prioritize which species and habitats we
7 wanted to look at. We also pulled in climate change
8 projections and impact information to help us evaluate
9 what are some of the major climate-related threats and
10 stresses to those different priority conservation
11 targets.

12 And then, ultimately, we developed conservation
13 strategies that can or are designed to, in part, try and
14 minimize some of those potentially negative impacts from
15 climate change.

16 So, one other reason that I wanted to mention
17 the Wildlife Action Plan revision is that we also
18 developed nine different companion plans to go along
19 with the main SWAP document. And these are sector-
20 specific plans that drill down a little bit deeper into
21 the relationship between fish and wildlife conservation
22 and various sectors.

23 So, there is a plan that's devoted specifically
24 to energy. And that was developed by a number of our
25 staff, as well as different partners. And that is

1 available in draft form, now, on our Wildlife Action
2 Plan website.

3 So, that's just one example of kind of
4 integrating climate change and energy sector issues,
5 with a little bit of climate thrown in there as well.

6 The second project that I wanted to talk about,
7 just briefly today, is the Desert Renewable Energy
8 Conservation Plan, or DRECP. And this, of course, is
9 not a DFW specific project, but has been developed over
10 several years with a multitude of different
11 organizations and agencies, and I'm sure many of you in
12 the room today.

13 So, the DRECP outlines a desert wide
14 conservation strategy that can serve as a framework for
15 the long-term conservation of species, and the natural
16 communities, and ecosystem function within the plan
17 region, all while allowing for that renewable energy
18 development type projects.

19 So the DRECP conservation framework was
20 developed with climate change information to result in a
21 more robust strategy, and one that's intended to work
22 well under a variety of different climate futures. The
23 framework, itself, pulls in a lot of different
24 biological and climate information to make sure that the
25 strategies we're ultimately developing are more

1 resilient and can help facilitate sort of the natural
2 adaptation of species in that area.

3 The framework also has a lot of information
4 that's intended to support development of climate smart
5 conservation strategies and actions at the local level,
6 as well.

7 So, the framework in general I think is just a
8 really good tool and source for ensuring that the lands
9 that we're managing -- or, the conservation lands that
10 we're managing are incorporating different climate
11 change considerations.

12 So, one quick example of the type of climate
13 change data that was pulled into that process is some
14 information about wildlife corridors in that region, and
15 what they look like in present day and what they might
16 look like when you start thinking about future areas of
17 future habitat suitability. How do those corridors
18 change?

19 And they did a pretty extensive exercise to
20 think about what corridors are the most viable under the
21 biggest variety of different climate scenarios and that
22 can support, you know, a very diverse array of species.
23 So, that's one example of climate change being pulled
24 into this broader conservation framework.

25 And the last thing I wanted to say about the

1 DRECP is that it's also a great framework for
2 implementing a lot of the adaptation strategies for
3 biodiversity and habitat that have been identified in the
4 State's climate adaptation strategy, the Safeguarding
5 Plan, as well as actions that have been identified in
6 the Wildlife Action Plan. So, I think these are really
7 complementary efforts and there's a lot of synergy
8 between those.

9 So, the last project that I wanted to mention
10 today is a climate change research project that was
11 completed through a partnership between Department of
12 Fish and Wildlife and UC Davis. And this is a climate
13 vulnerability assessment of natural vegetation statewide
14 in California.

15 And that assessment was built upon a lot of the
16 different types of climate data that we've heard about
17 today, different GCMs, and different emission scenarios.
18 And it resulted in a lot of really great information for
19 us, not just information on vulnerability rankings, but
20 also which vegetation communities are most highly
21 exposed to climate change, which may be more sensitive,
22 which may potentially be more adaptive.

23 We were able to get a sense of what areas in the
24 State, again, might be the highest risk of climate
25 change and also what areas may be more resilient, or may

1 even be able to serve as refugia, areas of climate
2 refugia in the future.

3 So, now we're working on figuring out how best
4 to apply that information to various programs and
5 policies within the Department. For example, we've
6 started to think about how that data can inform our land
7 acquisition practices, our grant solicitations, project
8 evaluations and also, just generally, our conservation
9 planning efforts at the Department.

10 So, I wanted to mention that project because
11 it's something that we've been working on a lot lately,
12 and also just to kind of introduce it as a source,
13 another good source of climate information and data
14 that's out there.

15 And that project did result in a final report
16 that is available online. And we are currently working
17 to get all the spatial data layers available on the
18 California Climate Commons, which is a data platform
19 that's hosted by the California Landscape Conservation
20 Cooperative.

21 So, that's all I'll mention for now. Hopefully,
22 it gives you a little bit of an idea of some of the
23 climate related things we're working on and where there
24 might be kind of a nexus to the energy sector.

25 MS. RAITT: Thanks, Whitney.

1 So, next is David Fink from Climate Resolve.

2 MR. FINK: Good afternoon. Thank you for having
3 me here today. I'm happy to be here. My name is David
4 Fink. I'm the Director of Policy at Climate Resolve.
5 And we're a nonprofit climate change organization based
6 in Los Angeles. Our mission is to make Southern
7 California more livable and prosperous today, and for
8 generations to come by inspiring people at home, at
9 work, and in government to reduce greenhouse gas
10 pollution and prepare for climate impacts.

11 And so, the sort of joke we say internally is
12 that climate adaptation is the gateway drug to climate
13 mitigation. And what I mean by that is when you start
14 talking about reducing greenhouse gas emissions, you
15 talk about global warming, it's a global problem. A lot
16 of people have a hard time sort of contextualizing that,
17 a problem so big. How can I be part of a solution when
18 the problem is so big.

19 But when we sort of enter the conversation
20 through adaptation and we start talking about climate
21 impacts, and how climate change is changing people's
22 neighborhoods and communities, people start to
23 understand what climate change actually means, and they
24 understand how they can be a part of the solution. So,
25 that's been sort of our approach in terms of engaging

1 the public.

2 And so, I just want to start with -- so, the
3 studies that Katharine was referring to earlier, that
4 center around Los Angeles and project to the middle part
5 of the century. And I don't want to sort of belabor
6 this, but just to show that in the middle part of the
7 century the number of extreme heat days, which is 95
8 degrees and above, doubles. And in some parts of the
9 region triple. And if we look here, outside of the City
10 of Los Angeles and in the broader region, you see places
11 like Palmdale, in the northern part of the county,
12 Redlands in San Bernardino County, even all the way up
13 to Bakersfield in Kern County. And the number of
14 extreme heat days is off the charts.

15 So in, say, Redlands, where right now typically
16 you see 12 days above 95 degrees, we're looking at a
17 projection of around 40 days. And this is also taking
18 into account temperature, which is expected to rise
19 three to five degrees in the region.

20 So, sort of looking ahead, we sort of looked at
21 that and said, well, what can we begin doing now that
22 will help us prepare for these climate impacts?

23 And so, one of the things we did was -- oh,
24 well, let me take a step back and talk about sort of the
25 public health implications of higher temperatures and

1 extreme heat.

2 And so, in an average year the number of
3 mortalities attributed to heat are greater than all
4 other weather-related events combined. So, heat is the
5 biggest public health threat when we're talking about
6 weather, in a typical year.

7 And so what this chart shows or this slide shows
8 is that the regions that are most vulnerable to heat
9 impacts, when you're talking about public health, are
10 along the West Coast, the upper Midwest, along to the
11 East Coast and into the Northeast.

12 And the reason for that is high variability. So
13 in, say, Arizona and Phoenix, the average temperatures
14 are much higher than they are in Los Angeles. And
15 throughout the year they're much higher and in the
16 summer they're much higher. But there's not high
17 variability. And so what that means is there's not --
18 you don't typically get spikes in heat.

19 So, in Los Angeles, like we've seen the last
20 two, three days, we've had temperatures over 100 degrees
21 yesterday. In parts of Los Angeles it was 115 degrees
22 or 112, you know, in that range. And so, three, four
23 days before that, it was 80 degrees. So, we get these
24 big spikes.

25 And so, in a place like Phoenix, or in parts of

1 Florida, where they have higher average temperatures,
2 there's sort of slow rise throughout the year. In
3 Central Florida, even though they average in the mid to
4 upper 80s it doesn't get out of that range very much
5 throughout the year. So, at the low end they get into
6 the upper 70s, typically. At the high end, they get
7 into the lower 90s. So, there's not sort of that high
8 variability. So, that's when you see sort of the
9 largest impacts.

10 In the early 2000s, when there was a heat wave
11 in Chicago, I forget the year, I want to say it was 2005
12 or 2006, there were several thousand heat-related
13 mortalities. And that was an example of a place that
14 doesn't typically see these high heat phenomena. And so
15 when there was that spike, people weren't prepared for
16 it. The electrical grid wasn't prepared for it. And
17 you saw a lot of sort of heat-related illness and
18 mortalities.

19 And so, in Los Angeles one of the first things
20 we did was begin looking at what can we do to cool down
21 the city? And one of the ways we can do that is by
22 reducing the urban heat island effect. So, the urban
23 heat island effect in Los Angeles is pretty dramatic.
24 And although it's not like in most urban areas, it's not
25 monolithic. You have variability in terms of sort of

1 micro climates throughout the region. But we have a
2 pretty dramatic urban heat island effect.

3 And so what we did was we started working with
4 Los Angeles' previous mayor, Antonio Villaraigosa, and
5 the city council, in 2014, and the Los Angeles
6 Department of Building and Safety, the Los Angeles
7 Department of Water and Power. And Los Angeles became
8 the first city to require cool roofs on all new
9 residential construction, as well as reroofs when over
10 half the roof is being replaced. So, if you're
11 replacing half the roof, half the roof or more, that
12 triggers the ordinance.

13 A cool roof typically will cool down a home 3 to
14 12 degrees. The homeowner or resident typically sees
15 between a 10 and 20 percent reduction in their energy
16 bill throughout the year. It's typically in the 13 to
17 15 percent range, but somewhere in the 10 to 20 percent
18 range. So, there's immediate benefits to the homeowner.
19 There's immediate benefits to the electrical grid.

20 The other thing I want to note, in terms of
21 energy efficiency, is when you're talking about a roof,
22 a lot of people say, well, what we should do or what you
23 can do is do things like a radiant heat barrier, or
24 attic insulation, which is cheaper, and you get similar
25 energy savings. Which is true, but you don't get the

1 urban heat island reduction benefit. So, we looked at
2 it as without that benefit, you know, it's not as
3 beneficial for a region that sees such a dramatic heat
4 island effect.

5 And so, what we would like to see is a similar
6 ordinance statewide, in climate zones where it makes
7 sense. And just to note, the Cities of Pasadena and
8 Chula Vista have replicated the ordinance since then.

9 And so, some other things we've been working
10 with the City of Los Angeles and the County on is cool
11 pavements, or cool streets. So, in the City of Los
12 Angeles there's sort of that old saying, when all you
13 have is a hammer, everything looks like a nail. And Los
14 Angeles owns two asphalt plants. So, all they want to
15 do is put asphalt down on all the streets.

16 So, sort of working within that structure,
17 knowing that other materials probably aren't feasible,
18 we've been working with them to develop a lighter slurry
19 seal. So, the slurry seal is that top two inches that
20 they typically shave off on a road. So, rather than
21 full road reclamation, which happens every 20 to 25
22 years, where they tear it down, 8 to 12 inches down to
23 the base, that when they just shave off that top two or
24 three inches, which is a type of maintenance, they do
25 that about every five years. So that goes down -- we

1 get a lot more bang for the buck if we have a sort of
2 more reflective slurry seal. So, we've been working
3 with the Bureau of Street Services to develop that.

4 Just about three, four weeks ago, in L.A. City
5 Council, they passed a motion that will create a
6 Committee on Cooling and Urban Heat Impacts. And that
7 committee will be tasked with setting cooling targets
8 for the City. So, in the mayor's Sustainability Plan,
9 he has aspirational goals of 1.7 degrees of cooling by
10 2025 and 3 degrees of cooling by 2035. And so, this
11 committee will codify targets, maybe those, maybe
12 something more stringent. But that sort of remains to
13 be seen.

14 We're working on expanding the urban tree
15 canopy, as well as a cool parking lot ordinance that
16 would require parking lots to either have some sort of
17 cool coating or an urban tree canopy that covers 75
18 percent of the parking lot.

19 And that's it, thank you.

20 MS. RAITT: Thank you, David.

21 Next is Peter Gleick from the Pacific Institute.

22 MR. GLEICK: Thank you. Good afternoon,
23 everyone. I hope you're still awake. It's been a long
24 day. There's been a lot of talking. I appreciate the
25 opportunity to come today.

1 I'm Peter Gleick. I'm the Director of the
2 Pacific Institute in Oakland. We're a research
3 institute. We've been working for a long time, really
4 almost three decades on climate impacts, especially
5 focused on water resources, fresh water, around the
6 world and in California. We did some early work in 1990
7 on sea level rise in the Bay Area. And then, you heard
8 about the 2009 work we did on sea level rise on the
9 coast of California, as a whole, with the Energy
10 Commission as part of their PIER work.

11 I just have a few minutes. I want to talk about
12 four things pretty quickly. One is some ongoing work
13 that we're doing on the links between climate change and
14 the California drought.

15 The second is some work that we're doing on
16 social vulnerability. Social vulnerability has been
17 raised as one of the key issues here, but it hasn't been
18 discussed much here. And I think there's not a lot of
19 work going on. But we're doing some work in the context
20 of the California drought that's relevant for climate
21 change.

22 A little bit of background on some other work
23 that we're doing and then the fourth thing I want to
24 touch on is a couple of gaps that I think need to be
25 addressed.

1 So, the first piece that I wanted to discuss was
2 some work that we've been doing on the California
3 drought and connections with large-scale climate, global
4 climate change.

5 This is one graph from a study we did about a
6 year ago, looking at temperature and precipitation
7 records. Basically, each of the dots on the chart is a
8 year in California, measured as temperature and
9 precipitation. If you had a dot right smack in the
10 center, where these axis join, it would be a year with
11 average, long-term average temperature and long-term
12 average precipitation. Anything above the X axis is a
13 hotter than average year. Anything below is a cooler
14 than average year. Anything to the left is a drier than
15 average year. Anything to the right is a wetter than
16 average year.

17 2014, the third year of the drought, is marked
18 here. We're about to update this for the fourth year of
19 the drought. You can basically see that the -- and, in
20 fact, if we had marked all of the decade, all of the
21 recent years in the last decade, they're all in this
22 hot, dry corner. We're seeing very significant,
23 statistically significant trends in temperature. Not
24 just in California, but in the United States as a whole,
25 in the U.S. as a whole, in the globe as a whole. That's

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 the issue of warming.

2 And we're continuing this work to look at the
3 connections between changes in sea surface temperatures
4 and the Pacific changes in atmospheric dynamics off the
5 Pacific, due to changes in the Arctic ice melt, changes
6 in long-term average temperatures, and those influences
7 on the drought.

8 This is not a question of climate change causing
9 the California drought. This is really a question of
10 influence. What is the extent to which climate changes
11 are now influencing the kind of extreme events we're
12 seeing in California. So, that's one example.

13 We've done some work in the past developing
14 social vulnerability indicators. We created something
15 called the California Social Vulnerability Index in the
16 context of climate change. And did a series of
17 assessment by census tract in California, looking at
18 vulnerability of populations to different aspects of
19 climate change.

20 For example, agricultural productivity, water
21 supply and delivery vulnerability measures, water
22 quality measures. Heat stress, we just heard from David
23 about some of the heat stress work that's been done in
24 Los Angeles. The risk of forest fires is another index.
25 Ecosystem functioning, and we heard about some ecosystem

1 pieces of this puzzle. Human health, recreation. A
2 series of measures that together form this index of
3 vulnerability of different populations around the State.

4 And doing that, it's possible to then map
5 regional vulnerability. This is some early work we did
6 looking at this. These maps are -- you can zoom in on
7 them. They're on our website at the Pacific Institute.
8 You can sort of see the URL up there.

9 And there needs to be some work to update this
10 for changing population dynamics around the State, for
11 changing indices of vulnerability. You can choose and
12 select those indexes that are most important to you.
13 But there are enormous vulnerabilities for different
14 kinds of communities, under different kinds of climate
15 scenarios.

16 Integrating this with some of the new climate
17 scenarios that Dan Cayan described might be a useful
18 thing to move forward on, as well.

19 And just as a couple of examples, this is
20 populations vulnerable to -- oh, I can't even see it up
21 there because I'm sharing my screen. This is high
22 wildfire vulnerability. This is one for populations
23 with particulate matter above certain levels. This is a
24 population who's vulnerable to certain kinds of coastal
25 flooding. You can look for each of these individual

1 measures at the kinds of populations with high, medium
2 or low social vulnerability.

3 And this is another example. This is PM 2.5,
4 particular matter. Under different climate scenarios,
5 under current conditions and under future conditions
6 around mid-century. And again, this can be extended to
7 the new scenarios, the climate scenarios that are being
8 developed.

9 The third piece of this is some ongoing work
10 that we're doing right now. We're just about to release
11 a study on the impacts of the drought on vulnerable
12 populations in the San Francisco Bay Area. This is not
13 a climate change specific assessment. It's mostly
14 looking at the drought. Now, of course, the extent to
15 which climate change and the drought are linked is
16 relevant. That report, anyway, will come out probably
17 in the next week or two.

18 We have a broader assessment underway, looking
19 at the State as a whole and the impacts of the drought
20 on equity. Looking at the price of water to different
21 communities, including low-income communities. Water
22 quality issues in the Central Valley. Access to water
23 in the Central Valley. Of course, the story of East
24 Porterville and lack of access to safe water in certain
25 Central Valley communities has been a big story in the

1 news, during the drought. And we're looking at a broad
2 set of indicators for equity and the drought in the
3 State. And that report will be out sometime in the
4 fall. Both of those were Foundation-funded reports.

5 We've done some work in the past looking at the
6 impact of the drought on energy generation in the State.
7 And somebody this morning also talked about this. What
8 we looked at was decreases in hydroelectric generation
9 as flows in California rivers and through turbines has
10 decreased, through the first four years of the drought,
11 ending in September, the end of the last water year.
12 We're going to update that again this year, as the fifth
13 year of the drought continues.

14 And what we looked at was the costs, the
15 economic costs to California of having to burn more
16 natural gas. When we don't generate hydropower, the
17 marginal energy system in California is natural gas. We
18 burn more natural gas and natural gas is more expensive
19 than our average hydro cost, and the cost for California
20 ratepayers over the last four years has been about \$2
21 billion in additional natural gas costs.

22 And as an example of the links between climate
23 and some of these issues we've been talking about all
24 day, about a 10 percent increase in greenhouse gas
25 emissions from the power generation sector because we're

1 burning more natural gas, rather than generating
2 hydropower, which doesn't emit greenhouse gases. So,
3 we'll update that report again at the end of this year,
4 for the fifth year of the drought. And we're going to
5 continue to look at these links between climate change
6 and the drought.

7 So, finally, that was my last slide, but I just
8 want to make one more set of comments about some missing
9 pieces of this problem. We're not very good at looking
10 at cross-sector issues. We think about energy over
11 here, we think about water over here. Sometimes we do a
12 little bit of work to try and integrate those things,
13 but not very often.

14 And in the water/energy links, for example,
15 we're not doing a good job with water utilities. There
16 are energy utilities here, there's been a lot of
17 discussion about some of the work that the energy
18 utilities have been doing. But the water utilities,
19 despite a great deal of effort to try and get them
20 involved in the conversation about climate risk and the
21 kinds of adaptation actions they're going to take, have
22 not been that involved in the conversation. We need to
23 improve that.

24 DWR is not. Anybody from DWR here? DWR is not
25 here. The State Water Resources Control Board is not

1 here. The PUC is here, but it hasn't talked much about
2 the water utility side of the puzzle, and that's a
3 missing piece.

4 And the other example I wanted to raise was the
5 oil and gas industry. California's an oil and gas
6 producing state. We did a study last year, for SB 4,
7 Senate Bill 4, that was required to look at the risks of
8 fracking and oil and gas production. That was done with
9 the California Council on Science and Technology, and
10 LBL, and the Pacific Institute.

11 We did the water piece of that and we looked a
12 risks to groundwater resources from, for example, the
13 reinjection of produced water from the oil and gas
14 industry. So, to what extent is the oil and gas
15 industry in California going to be a player in this
16 climate future that we've all been discussing? I don't
17 think we've adequately thought about that, the oil and
18 gas industry.

19 And, we certainly haven't thought enough, in my
20 opinion, about risks to water resources. Groundwater is
21 going to be a critical adaptation resource for water
22 resources in general in California and, yet, there's the
23 risk to groundwater resources from reinjection of
24 produced water. Not to mention overdraft of groundwater
25 in general.

1 So, those kinds of cross-cutting sectoral
2 issues, I think need more attention and probably more
3 attention than they've been given in general.

4 I'll stop there. Thanks very much.

5 MS. RAITT: Thank you very much.

6 So, now we have a little time for questions from
7 the dais and discussion with the moderator.

8 COMMISSIONER DOUGLAS: You know, we probably
9 have questions, but why don't you go ahead and we'll
10 step in as questions come to mind.

11 DR. BEDSWORTH: Okay. Well, we have a long
12 list, but I don't think we'll get through.

13 COMMISSIONER DOUGLAS: Right.

14 DR. BEDSWORTH: But I think we heard a lot of
15 really interesting examples and I think very different
16 of how folks have been incorporating science. And I
17 guess I might deviate a little bit from the questions
18 here, but I think this gets at a number of these issues
19 and links to Susie's presentation in terms of thinking
20 about transdisciplinary, and really about trying to work
21 in a much more integrated way, rather than taking
22 science or making a decision, or making a policy.

23 Just curious, what types of -- if there are
24 examples in each of your areas, where you've started to
25 move more in that direction of having a more

1 transdisciplinary relationship, rather than sort of the
2 pipeline model that Susie was talking about?

3 DR. GLEICK: Well, as I described in my short
4 presentation, we do a lot of cross-disciplinary,
5 interdisciplinary work. We work on energy and water.

6 There is another piece to that puzzle, which is
7 collaborative work, cross-group work. And again, Susie
8 talked about it pretty extensively. We're doing a lot
9 of the work on equity issues with some of the
10 environmental justice communities in the State.

11 There hasn't been a great job at bringing in
12 other voices to some of these kinds of questions. Some
13 of us can sit and do research, but if we're asking the
14 wrong questions, you don't get the right answers. And
15 so, part of the equity work was designed to ask what
16 questions should we be looking at.

17 Those indices, heat stress, agricultural
18 impacts, the measures of social vulnerability were
19 developed with environmental justice communities with
20 conversations with local communities. And I think there
21 needs to be more of that kind of cross-community
22 conversation. Not just cross-discipline conversation,
23 but cross-community conversation in order to direct some
24 of this research.

25 COMMISSIONER DOUGLAS: You know, Larry, I saw

1 you reaching for your microphone or you might have been.
2 But I think certainly the question of the regional
3 collaboratives around specific issues, themselves
4 generating scientific questions and the dialogue about
5 what should the research agenda be. I thought you might
6 have some good examples of that.

7 MR. GREENE: Well, two things that come to mind.
8 One is that we did a very robust effort when the State
9 Research Plan came out. We farmed that out to all of
10 our members and I think we sent a very strong response
11 back and, actually, a lot of our ideas and thoughts.
12 Because the State Research Plan was not focusing on
13 regional issues. And it was just an oversight and
14 nobody had thought about that. So, we had a lot of
15 input into that.

16 And the issues, the kind of issues that we were
17 focusing on were issues around these watersheds and
18 things. An example of how this plays out is we had a
19 meeting that talked about fire and we thought we were
20 going to focus on the impacts of the recent fires in the
21 region, north and south of Sacramento.

22 But once we got into that discussion, we had
23 water agencies in the room from both the federal -- I
24 mean, not the federal, but the State and then the water
25 agencies in the local area, and the cities and counties.

1 But we had SMUD and PG&E, flood control agencies, cities
2 and counties. They all are part of the conversation
3 about fire.

4 Even our chamber of commerce wanted to join our
5 collaborative because of the economic impacts of smoke
6 in the cities, because people don't go out and buy cars,
7 and don't shop when we have smoke, they said. So, what
8 can we do as a chamber of commerce to help with this
9 issue?

10 So, that was not something I had thought about
11 before, but was the result of a meeting we had with
12 them, talking about the collaborative.

13 So, it's those cross-leveling kind of things
14 that bring about thoughts and ideas that nobody's
15 thought about before because they haven't been in the
16 room together.

17 COMMISSIONER DOUGLAS: I have another follow-up
18 question, just from the framing presentation, which
19 comes to the issue of, you know, is it useful or how
20 useful is it to think of certain issues as how much time
21 do we have to really get on top of this issue before we
22 begin to feel or experience the impact, and don't have
23 the lead time we would want.

24 And I think I want to direct this towards Neil,
25 but I think other people might want to answer. You

1 know, Neil, in terms of the reliability margins and
2 planning that the ISO does, and it's responsible for,
3 you made the point that that's done with reference to
4 standards that were developed based on current
5 conditions and over a long time.

6 And, you know, we've today seen that the climate
7 scenarios are really showing us this tremendous increase
8 in extreme heat days, for example, in very
9 geographically extensive portions of the State.

10 And so, you know, the short question and you can
11 take this maybe a couple directions but, you know, to
12 what degree and over what time frame is the ISO really
13 able to deal with that sort of thing?

14 I mean, if you decided tomorrow that you needed
15 to look at reliability thresholds, well, what's the time
16 frame between that starting point and getting through
17 the different processes you'd have to go through?

18 MR. MILLAR: Sure. I'd like to just maybe touch
19 on the timing issue. That for us, many of the issues
20 that we're talking about are already here. One of my
21 favorite lines out of the movie, "Twister", was Bill
22 Paxton's comment about the tornado's coming, and he
23 said, "It's already here".

24 So, many of the issues that we're talking about
25 are not hypothetical or something down the road. The

1 way we look at these is by constantly trying to -- we go
2 through an annual transmission planning cycle,
3 assumptions that are coordinated with a number of State
4 agencies. As opposed to one big collaborative
5 discussion, we really rely on coordination. That
6 certain assumptions are developed at certain times,
7 they're refreshed, we use that work and it feeds back
8 into the next year's cycle.

9 When we have issues that we have to deal with,
10 that are already showing up within our immediate
11 actionable time frame, we then have to look at what are
12 the options that are either stop gap measures to get us
13 through to a longer-term solution or make some
14 assessment about what's a reasonable timing for that
15 long-term solution.

16 So, the timing is a very important issue for us.
17 Where, if we're looking at a major transmission line,
18 seven years is quick and ten is often more reasonable.

19 Other stop gap measures can be built in two to
20 three years. So, we have to look at the whole basket of
21 solutions that we have available.

22 Our transmission planning process often gets
23 mischaracterized or confused because we talk about a 10-
24 year planning horizon, which is we won't move on a need
25 that we see outside of ten years. That we assume most

1 solutions can be built within the 10-year time frame.
2 But we do look at issues that go beyond the ten years.
3 So, when we're building a 40- to 50-year transmission
4 asset, we want to have some comfort that it has a need
5 in the longer term. You can never be certain of
6 anything that far out, but we have to do the best we
7 can.

8 So, just then circling back to the timing of
9 some of these issues, for us it's a constant
10 improvement. It's not that we're starting with no
11 collaboration or no coordination, it's how do we improve
12 it in each year's cycle. In the past few years we've
13 moved beyond the original coordination of renewable
14 generation forecasts that came to us from the CPUC and
15 the Energy Commission, to increasing the level of
16 coordination on other inputs. Deliberately picking
17 which sets of load forecasts we would use, so that the
18 rest of industry is aware.

19 And then, starting to coordinate with other
20 issues. More recently it's been -- and we started, in
21 hindsight, about six months' too late, was starting to
22 work on the gas/electric coordination issue.

23 So, for us, it's a constant evolution of
24 improvement as opposed to starting from something from
25 scratch. My comments today, though, is I did see areas

1 where I think we can sharpen the pencil on needing some
2 better coordination discussions earlier, on certain
3 issues. And those were really what I was looking for
4 today was where are those issues that I can draw from
5 and who should I be turning to.

6 Did that help touch on --

7 COMMISSIONER DOUGLAS: Yeah, I think it did. I
8 mean, I think the coordination point, for example, the
9 Energy Commission Demand Forecast, which takes into
10 account climate scenarios is one of these inputs because
11 you would need to use it to show that, you know, that
12 demand might be doing something other than what we would
13 expect based on the usual non-climate factors that we
14 look at.

15 And at the same time, I think it's clear that we
16 do need an interagency approach on how and to what
17 extent we are ready to make decisions based on that
18 information and under what circumstances. Because, you
19 know, at the CPUC, then, utilities may come in with
20 proposals to build assets that are potentially sized or
21 upsized, or just designed to a different set of -- to
22 meet a different set of demands. And over what planning
23 framework, is that appropriate, for example?

24 MS. RANDOLPH: Yeah, in fact Neil and I were
25 talking at lunch, just today, about the typical issues

1 with the demand curve, and there's lots of solar
2 available, but does that shift when you're looking at
3 monsoon conditions in San Diego, when you have a lot of
4 heat, but a lot of cloud cover that comes with it.

5 And so, kind of linking those questions together
6 in the planning process is critical.

7 COMMISSIONER DOUGLAS: Yeah, and the monsoon
8 conditions, of course, don't just affect DG in San Diego
9 or L.A., but they also can affect the utility scale
10 product in the broader Mojave and Colorado Deserts. And
11 that gets to pretty large numbers very quickly, in terms
12 of generation.

13 MR. MILLAR: And one other comment to just make
14 on that is that understanding how the demand forecasts
15 are produced off of certain scenarios, I'm not sure
16 we've been going as far as we should in looking at the
17 scenarios that were behind the forecast. We can take
18 the forecast and say, great, we've got that building
19 block to our plan and we move forward.

20 Are we coordinating the rest of the assumptions,
21 that they're consistent or inconsistent with the climate
22 scenarios that help produce the forecast. So, that's
23 another area I see as needing to do some pencil
24 sharpening in the future.

25 COMMISSIONER DOUGLAS: Great, thank you.

1 Are there other comments just on the question of
2 the utility of looking at issues through a lens of how
3 much time do I have to solve this problem? I mean, I
4 don't think that's the only criteria, by any means, that
5 I would look at, but it could certainly be one of them.

6 MS. RANDOLPH: I actually have a question that
7 might kind of bleed into the next panel as well, which
8 is, you know, one of the issues -- one of the many sort
9 of climate impact issues we see, we saw a little bit
10 yesterday, with extreme heat event and impacts on the
11 system in the sense of, you know, impacting transformers
12 or other equipment, and causing outages.

13 And how is that or is that tracked and analyzed?
14 Is it, you know, sort of our individual utilities kind
15 of looking at the sort of the aggregate of as those --
16 in questions of load and in questions of demand, the
17 increase in those events is going to require your
18 reliability backstops to kind of be increased to deal
19 with that. And so, how are we doing that? Are we doing
20 it more on an individual, transmission owner basis, or
21 on a system operator basis?

22 MR. MILLAR: Right now, both the ISO and the
23 transmission owners, themselves, have key roles in that.
24 The ISO, through its maintenance requirements, also
25 tracks availability. But when it comes to the sparing

1 requirements and, especially for the lower voltage
2 equipment, then the utilities are taking the lead role
3 in developing appropriate sparing strategies and having
4 enough equipment on hand.

5 MR. GREENE: If I can make a comment on this,
6 too. This is an area where we have thought, even on our
7 charts as we're talking about the risk of climate
8 change, of what -- of not even putting heat on there at
9 times, because what do you do about it?

10 Well, now, L.A.'s come up with the Cool Roofs
11 Initiative. And you really can make that with the trees
12 and other efforts, you can make a measurable difference
13 with the heat in downtown areas.

14 So, now, instead of having something that we
15 just have to live with, we have maybe -- so, in a
16 situation like this. So, if you can reduce the heat
17 impact by two or three degrees in a downtown area, what
18 does that do with your energy impacts? And is that
19 cheaper to do than doing some of the other high end
20 things that you would have to do on the energy side?

21 So, now, you have to think about this in a more
22 global context. So, as I thought about the heat, you
23 have public health, business productivity, tree health,
24 water availability because, of course, you have more
25 water evaporation, and ozone formation from an air

1 quality point of view.

2 So, if you get in a room and talk about heat
3 impacts from all those perspectives, you come up with
4 maybe different kinds of strategies across different
5 media as to what you can do about that. And then, you
6 have an opportunity to sort of triage those and say,
7 okay, which are the most urgent? Which do we have to do
8 sooner? Which ones are cheaper? What's the best
9 context for our community here and what we do?

10 So, that's the kind of conversation I think
11 that's very helpful and that maybe we're not having
12 enough of in California to really look at the context of
13 this, and coming up with the best solutions, and maybe
14 new solutions that we hadn't thought about.

15 MS. RANDOLPH: So, Commissioner, I just wanted
16 to let you know we have come to the close of the time
17 allotted for this panel.

18 COMMISSIONER DOUGLAS: All right. Well, I just
19 want to thank all of you for your presentations and the
20 thought and effort you've put into them. I really
21 appreciate what you brought to us today and, again,
22 thanks for being part of this.

23 MS. RAITT: Thank you. And so then, if our last
24 panel could come to the front tables and we'll have a
25 spot for you.

1 So, this is the second part of the Practitioner
2 Panel. This panel is on Publicly Owned and Investor
3 Owned Utilities. And we're just gathering at the table,
4 for folks on WebEx.

5 Okay, so we can go ahead and get started. Our
6 first speaker is Dr. Craig Zamuda, from the U.S.
7 Department of Energy.

8 DR. ZAMUDA: Thank you. What a fascinating day.
9 And I'm confident we have a good closeout panel to
10 address you today.

11 I'm going to set the stage for the panel, which
12 largely consists of representatives from various
13 California utilities, but really talk about some of the
14 work that we're doing at the Department of Energy with
15 regards to climate resilience and preparedness. And, in
16 many cases, doing that work in collaboration with the
17 speakers that will follow me.

18 The President Obama's Climate Action Plan,
19 released in 2013, really laid out two principle drivers
20 that affect the work that we're doing at the Department
21 of Energy. And one of those is really focused on the
22 climate mitigation, which really isn't part of our focus
23 here today as much as the other part, which focuses on
24 climate adaptation.

25 That's driving the work that we're doing at the

1 Department. And I'll try to present an overview, really
2 looking at five pillars of that work. Starting with our
3 attempts to enhance the understanding of the impacts of
4 climate change on the U.S. energy sector.

5 And as an example of that work, I have a picture
6 here of a report. And, in fact, I have a couple copies
7 I can leave here with the Commissioners. They focus on
8 the U.S., looked at it from a regional viewpoint,
9 adopted the information that was part of the National
10 Climate Assessment, in terms of looking at climate
11 trends across the country.

12 And then, looked at what the vulnerabilities to
13 the energy sector would be and also provided some
14 illustrative examples of climate resilience actions that
15 are being taken.

16 So, if you haven't seen that report, I'd suggest
17 you take a look at that. It's kind of like the 101
18 primer of what we should be doing and what the impacts
19 are within the U.S.

20 But other areas we're also focusing on is
21 developing improved methodologies and tools. You all
22 have talked a lot about things that you're doing here,
23 today. We also have, I think it was mentioned earlier
24 today, worked to develop a clearinghouse. Not just for
25 energy-related information, but more broadly, across

1 multiple sectors. The Climate Resilience Toolkit, if
2 that's a tool you haven't accessed, I'd encourage you to
3 do that.

4 But in addition to data and information, we are
5 spending most of our time, currently, really trying to
6 develop guidance to assist folks, such as you, in terms
7 of doing climate resilience planning, guidance really
8 focused on the energy sector. How to do exposure
9 assessment, vulnerability assessments and how to
10 identify cost-effective resilience strategies.

11 So, we have a couple products that I'll talk
12 about in a little bit more in detail, in a minute, that
13 we'll be releasing in the next few weeks.

14 But in addition, the third bullet here really
15 focuses on downscaled climate science information.
16 Largely, that's what we've been talking about here
17 today. We're looking at that from a national point of
18 view, recognizing that all decisions are really local
19 decisions, and we need data that's useful, that's in the
20 proper geo spatial context, within the proper temporal
21 space that can help decision makers. So, we're
22 increasingly investing and making that information
23 available, and working with other federal agencies, such
24 as NOAA, NASA, and others to make that available.

25 The fourth item, something we really haven't

1 talked to much today, about innovative technologies.
2 But as the Department of Energy, this is what we do.
3 This is our bread and butter. We have 17 National
4 Labs, two of which are located in your State. Lawrence
5 Berkeley National Lab, Lawrence Livermore National Lab.
6 These are developing a break through science with
7 regards to application to the energy sector.

8 We also have energy programs that are investing
9 in both the development -- the research and development
10 of more innovative energy technologies. We recognize
11 that the energy technologies that we're talking about
12 today, to make them more climate resilient, were really
13 designed for a different time and different place. They
14 were designed and built in the 20th Century. We have
15 aging infrastructure. We need to be looking at the gaps
16 and opportunities for enhancing that technology so that
17 we have clean, affordable, reliable and climate
18 resilient technologies that can be deployed as we move
19 through the years ahead.

20 And finally, in terms of doing all the work
21 that's outlined above, we recognize that the federal
22 government, the Department of Energy doesn't own and
23 operate these energy assets. It's folks that would be
24 represented here in the room. And so, we have developed
25 a number of partnerships to reach out and work

1 collectively in terms of building a more climate
2 resilient energy system.

3 We talked about earlier, it's been mentioned,
4 this Partnership for Energy Sector Climate Resilience,
5 so I wanted to spend a moment on that. Our goal here
6 was to recognize that we had a certain degree of
7 convening power to bring utilities to the table. We
8 started with utilities. Recognized, I think Peter
9 mentioned that this is an issue that affects not just
10 the electricity sector, but the oil and gas sector. We
11 started with the electricity sector. We thought they
12 were ready. They were willing, they were willing to
13 come to the table.

14 And so, we brought them to the table by
15 establishing this partnership. A sustained engagement,
16 so it's not kind of one-off workshops we do, but it's an
17 opportunity to bring people together, to get them
18 working collectively and collaboratively, sharing best
19 practices, sharing lessons learned, and identifying
20 opportunities for improvement.

21 We have 19 utilities that are currently part of
22 this partnership. We look to expand that in the weeks
23 and months ahead. At the same time, it's not an
24 insignificant group to start with, supplying over 25
25 percent of the U.S. customers with service.

1 So, it's a fairly significant group and it's a
2 group that's really leading the way among all the U.S.
3 utilities in terms of addressing, looking and addressing
4 the challenges of climate change.

5 The ones in yellow are the ones that are here in
6 the room, they're the ones we have from California. But
7 as you can see, we have a number of utilities from
8 across the country, as the names imply on these
9 utilities. From different -- exposed to different
10 climate risks. Also, in different kind of governance
11 structure between investor owned utilities, state munis,
12 federal and co-ops. So, we have quite a representation
13 in terms of the type of utilities and the types of
14 climate risks that they're addressing. And it allows us
15 kind of a broadband cross-representation of the nation
16 in terms of working together on this common problem.

17 In terms of our work streams, one of the things
18 that was a requirement of anybody joining the
19 partnership was really a commitment to action. A
20 commitment to develop a vulnerability assessment, look
21 at their assets, identify their vulnerabilities and do
22 that within 9 months of joining.

23 Within 18 months of joining, there was a
24 commitment to develop a resilience strategy, a
25 resilience solution to address those vulnerabilities.

1 So, if you look to the clock, we started this
2 about 13 months ago. Nine months took us in, really,
3 the February time frame. So, in the February time frame
4 we were the recipients of about, at that time, 18
5 vulnerability assessments. We've been able to look at
6 those, review those, identify best practices, look to
7 see how different utilities are approaching this in
8 different ways.

9 We didn't provide prescriptive guidance in terms
10 of how to do a vulnerability assessment. We recognized
11 that utilities were in different places when this
12 partnership started. They had different risks that they
13 need to address. And so, we were fairly flexible.

14 And so, we wanted to use this as part of,
15 really, the learning curve for them and for us to kind
16 of figure out what would that first round of
17 vulnerability assessments look like? Recognizing that
18 that was more or less a first round, not the last round.
19 So, this will be a continuous improvement process.
20 We'll build upon those vulnerability assessments as we
21 move forward.

22 But we'll also learn from those. So, we did a
23 summary review of those, in a report that we'll make
24 public here in the next week or so. That really looks
25 across those assessments, looks to see how we're

1 currently doing it, identifies opportunities for
2 improvement, and highlights some of those best practices
3 that were demonstrated, not just in your California
4 utilities, but also the other partners, members of the
5 partnership.

6 We're also taking that kind of information and
7 other information to develop a couple guides. I
8 mentioned this a moment ago. But here's the titles of
9 these guides that will be coming out.

10 One is a deep dive on sea level rise and storm
11 surge. It's a document, it's about a 100-page document,
12 but it talks about not only how you could go about
13 assessing vulnerabilities of energy assets with regards
14 to exposure to sea level rise and storm surge, but it
15 also identifies various tools that can be used. Cal-
16 Adapt, for example, is cited in that report. And other
17 tools that are being used more broadly across the
18 nation.

19 So, there's a number of examples there. And
20 that's a report that, although you all are far along in
21 looking at sea level rise and storm surge, I'd encourage
22 you to take a look at the report. If for nothing more
23 than as to see how we've complemented the work that
24 you're doing, but there's other work that's cited there
25 as well.

1 And then more broadly, beyond sea level rise and
2 storm surge, we're putting out a companion piece, a
3 guide that looks across all climate threats, climate
4 risks, and lays out a framework for doing vulnerability
5 assessments, and developing cost-effective, resilient
6 strategies.

7 So, those are a couple of products that have
8 been part of the work stream coming out of this
9 partnership.

10 The final thing I'll focus on is making the
11 business case for resilience investments. So, we use
12 the example from the northeast, so I don't get in
13 trouble while I'm here in California. But coming out of
14 Super Storm Sandy, energy assets were significantly
15 damaged. We had a couple of utilities that are partners
16 with us in this partnership, Con Ed, and Public Service
17 Electric and Gas. As they identified their plan to move
18 forward, to build back better, to build back in a more
19 climate resilient nature, what they discovered is about
20 25 percent of their proposal was actually adopted by
21 their Public Utility Commissions.

22 And so, they recognized they needed to do a
23 better job of making the business case for these
24 investments.

25 And so, we have a number of case studies

1 underway. We're reaching out and talking to public
2 utility commissions. We have an effort underway, that's
3 being led out of Lawrence Berkeley, that will be
4 reaching out to the folks here in California to kind of
5 learn how can we do a better job of characterizing
6 costs? Not just the cost of the action, towards the
7 cost of resilience strategies that you may be pursuing,
8 but the cost of inaction. And equally important, how do
9 you characterize the benefits of investing in climate
10 resilience. Benefits not just to the utility, benefits
11 not only to customers, but benefits to society. So,
12 those externalities that typically aren't part of the
13 equation.

14 So, we're doing a number of case studies, with
15 our goal of really developing a methodology that could
16 be made public, in terms of how to do a better job in
17 terms of looking at these cost benefits.

18 I put this slide up just to make the point.
19 This is actually pulling out some observations from the
20 vulnerability assessments that were done from the
21 California utilities. You can see the name of the
22 utility going down the left-hand side.

23 And then across the top are a number of
24 different categories in terms of the approach they used.
25 Did they rely on sort of an internal assessment? Did

1 they rely on the literature, the examples of literature
2 to kind of help do their screening analysis, their
3 assessment? What was the scope of their assessments?

4 And sometimes it's varied, and sometimes it's
5 looking at assets. In some cases, also looking at
6 operations. In some cases, only looking at some assets,
7 certain asset types, transmission, distribution, maybe
8 substations versus transmission lines, et cetera. Or,
9 did they look, take a holistic view of all their assets?

10 In some cases a qualitative assessment. In
11 other cases, attempts to do a quantitative assessment.

12 The types of climate risks varied from utility
13 to utility. As you might expect, if you have assets
14 near sea level rise, you're going to be looking at -- or
15 near the coast, you're going to be looking at sea level
16 rise. If you're inland, that's not such a relevant
17 issue to be looking at in your vulnerability assessment.

18 But the time frame is also interesting in terms
19 of what is the time frame that you're looking at? Are
20 you looking at doing a vulnerability assessment out to
21 2100, or do you have shorter time increments in there?

22 I think the key lesson there is that it's really
23 a function of your assets. So, if you're looking at
24 transmission, distribution, substation, transformers,
25 things that may have a different life spans, you're

1 probably going to do an assessment that's kind of tied
2 to the investment you're making. So, there's logical
3 reasons for why things will vary.

4 The other thing I'd say is we're on a learning
5 curve for this, so we all are looking for ways to
6 improve upon the assets that are being done.

7 And in terms of those opportunities, my last
8 slide here, just several items, many of which we've
9 talked about today, only a few of which I'll kind of
10 highlight.

11 But the need for more standardized climate
12 scenarios I think is a key one. You've repeated that
13 throughout the day. I think we'd agree with that at a
14 national level, as well. We need to be understanding
15 what are we planning towards. And then, to be able to
16 take that type of information that has been presented
17 here today, in terms of the many different databases, et
18 cetera, and make that relevant for the decision maker,
19 so they can do a better job of really characterizing
20 their vulnerabilities, as we do a better job of
21 estimating what that climate science and scenario is
22 going to look like.

23 We talked in the last session about design
24 standards. I won't talk about that. I talked a moment
25 ago about the cost benefits. But I would say, on the

1 educating regulators, and I'll say it's vice-versa, it's
2 not just educating regulators about the efficacy of
3 investments -- and I should broaden that, as it says on
4 the slide, not just the regulators, but other
5 stakeholders, customers, society about the efficacy of
6 investments.

7 One thing, and I use the East Coast example,
8 when Public Service Electric and Gas went to invest in
9 climate resilience, large portions of society weren't
10 that interested in that long-term investment. They
11 wanted to make sure their electric bill tomorrow didn't
12 go up. And so, you have to balance this pay now versus
13 pay later element of society.

14 For regulators, I think it's a two-way street in
15 terms of better educating. And that is utilities need
16 to know what are the criteria that are being used in
17 terms of deciding what is the proper level of climate
18 resilience? What are the appropriate investments to be
19 making?

20 And I understand that's a work in progress, not
21 just in California, but throughout the country, to get a
22 better definition of what do we mean by a climate
23 resilient utility? How much is enough? What are the
24 proper criteria we should be using to measure that as
25 we're reviewing rate plans, to pass these costs on to

1 the consumers?

2 The interdependencies, as Kristin, I think,
3 noted earlier today the desire, as we're doing these
4 vulnerability assessments, not just to look at the
5 utility's footprint, but to look beyond. Look at the
6 interdependencies of electricity upon these other
7 sectors.

8 The example, and I'm going with that northeast
9 set of examples. When Super Storm Sandy came along and
10 knocked out electricity, it knocked out electricity to a
11 number of elements, not just healthcare facilities, not
12 just mass transit facilities, but also wastewater
13 treatment facilities. So, billions of gallons of
14 wastewater were being poured into the nation's
15 waterways.

16 We need to be looking at these interdependencies
17 between electricity and other sectors, as well as the
18 interdependency of the electricity sector among itself.
19 In terms of if your utility is relying on a supply chain
20 to make sure it continues to operate, if you're relying
21 on electrons being imported in from elsewhere, are they,
22 other parts of this system also looking at climate
23 resilience? So that if you're depending upon them,
24 they're going to actually be there when you need them.

25 The final point is the nexus between climate

1 mitigation and climate resilience. There are a lot of
2 things that we can be doing on the climate resilience
3 side that have co-benefits in terms of climate
4 mitigation and vice-versa. So, when we talk about
5 energy efficiency that helps reduce greenhouse gas
6 emissions, it also takes the strain off of the energy
7 system in terms of peak demand.

8 When we're talking about distributed generation,
9 when we're talking about micro grids, these are all
10 things that have co-benefits for both mitigation and
11 adaptation.

12 We ought to be looking for these opportunities
13 to have synergy between our overall climate -- our
14 approach to climate, both mitigation and adaptation.

15 And my final point, I guess, and it gets back to
16 this issue of timing and how do we know the right
17 investments to be making?

18 And I'll say, we ought to be thinking about what
19 I guess could be labeled "climate ready utilities".
20 Okay. So that when you're going to make these
21 investments and you're looking out over that time frame,
22 is there a way to, from an iterative process, take steps
23 today? I don't want to call them stop gap measures
24 because that sounds a little pejorative. But are there
25 interim measures that we can take today that defers some

1 of that cost until a future point in time? But an
2 iterative process, a climate ready process that we can
3 build on those actions we're taking today to meet the
4 short-term risks and be positioned that if we need to
5 expand upon those same solutions to address longer-term
6 risks, if and when we need to?

7 So, there's a number of examples from across the
8 county that we can cite, with regards to the partnership
9 where that exact approach is being adopted. Areas where
10 in shortages of water, thermal electric power plants may
11 be transitioning from once-through cooling to recycled
12 cooling, and then to dry cooling, but they're doing that
13 in kind of a step-wise fashion because there's no real
14 need, right today, to make that leap to dry cooling.
15 It's not cost effective.

16 So, I lay that out as just an example of a
17 guiding principle that a number of utilities are using
18 in terms of incremental approach. A responsible
19 approach. So, you're not deferring action, but you're
20 taking cost-effective actions today and doing it in a
21 way that it's iterative and can be built upon as you
22 move forward.

23 So, I'll stop there. I know I'm in the overtime
24 slot here. So, thank you.

25 COMMISSIONER DOUGLAS: Thank you for being here.

1 Let me just ask, because I know a number of the
2 panelists had to travel to come here, if anyone is
3 anxious about catching your flight, you can go first.
4 But if not, okay, we'll go in the order. Thank you.

5 MS. RAITT: Okay, so next is Nancy Sutley from
6 the Los Angeles Department of Water and Power.

7 MS. SUTLEY: I'll do it from here since I don't
8 have slides. Spare you all.

9 Thank you and thanks for the invitation. And I
10 sort of what to start a little bit kind of where Craig
11 ended. As we think about climate adaptation and
12 resiliency at LADWP, I think there is this -- as we
13 think about it, and idea that we think about resiliency
14 all the time, along with reliability. And there are
15 things that we do in the interest of resiliency overall,
16 that are also beneficial from a climate adaptation stand
17 point.

18 And I saw a quote from Mayor Garcetti, where he
19 noted that Los Angeles is vulnerable to 13 of the 16
20 kinds of federal disasters. I don't know what the other
21 three were that were not. So, this is sort of part of
22 our normal practice and sort of identifying and
23 considering those added risks as a result of climate
24 change are also important.

25 And that, you know, some of the things that we

1 need to focus on and where are those areas of
2 vulnerability, again as Craig noted. And we are
3 starting to look at that. We've worked with a number of
4 the local universities and trying to identify, and fill
5 some of the knowledge gaps related to climate
6 vulnerabilities, and adaptation to help us identify
7 effective strategies.

8 We're on the steering committee of the L.A.
9 Regional Climate Collaborate. And the Mayor, the
10 Department of the City of Los Angeles, the Mayor's
11 Sustainability Plan also set out that the City will do a
12 climate adaptation plan by 2017. And that will be in
13 conjunction with the City's Chief Resilience Officer.

14 And I'll talk a little bit about not just sort
15 of LADWP as a power utility, but also as a water
16 utility. So, I'll just start a little bit on some of
17 the issues around vulnerability. And many of them have
18 been touched on today. The first around increased heat
19 days that obviously cause concerns about public health,
20 but also a strain on our system.

21 And so, you heard reference earlier to some work
22 that UCLA, Alex Hall did, looking at the downscaling of
23 climate models particularly in Los Angeles, and looking
24 at the number of days over 95 degrees. In the next 20
25 to 60 years it will double in that period of time. And

1 that the dense urban areas, like downtown Los Angeles,
2 and the San Fernando Valley, will warm an average of
3 four degrees. And this was some work that we helped to
4 fund with, actually, with Recovery Act dollars.

5 The issues around urban heat island, in fact and
6 I'll talk about that a little bit more in a moment,
7 vulnerability to wildfire, our transmission system is
8 long and crosses many mountain ranges and forested
9 areas. And they're susceptible to brush fires and we've
10 certainly seen the impact of those. And both in terms
11 of kind of risk management costs, insurance costs, and
12 actual outages, and we've had a number of those.

13 Sea level rise, we've obviously talked a lot
14 about. We do have three coastal power plants and they
15 are also, in different ways, potentially vulnerable to
16 both sea level rise and sea surge. And as well, some of
17 our neighborhoods along the coastline are low-lying and
18 vulnerable to flooding. That will also have impacts on
19 our power distribution networks.

20 We also do have some amount of hydro on our
21 system, both the Los Angeles Aqueduct, which is a part
22 of our water system and a net producer of energy because
23 of hydro along that system. We also receive power from
24 Hoover Dam, which we rely on as carbon-free power.

25 And also looking at the hydro pump storage

1 facility at Castaic. And I'll tell you that last summer
2 we were quite concerned about the potential to not be
3 able to rely on Castaic.

4 But water energy nexus, when it comes to climate
5 adaptation, really isn't only about water for energy
6 production, but really also thinking about how energy
7 use and management factors into the management of our
8 water system. And energy plays a significant role,
9 obviously, in the water world in terms of moving --
10 gathering, moving, treating, distributing and the end
11 use of water.

12 And for us in particular, as we look at
13 different potential sources of water in a changing
14 climate, they have different implications for both
15 energy intensity of those sources of water, as well as a
16 greenhouse gas intensity as a result of making choices
17 about kinds of water that we will use.

18 So, as we look at kind of what do we try to do
19 about this, there are things that have resiliency
20 benefits, generally climate resiliency benefits, and
21 things that we've been doing that there are those
22 resiliency benefits.

23 When we look at sea level rise, I just would
24 note that we are in the midst of eliminating once-
25 through cooling and the use of ocean water for cooling

1 for our three coastal power plants. And that will have
2 some -- will give us some additional resiliency in light
3 of sea level rise, and really change in ocean
4 temperature. So, we'll look at that.

5 I think, Commissioner Randolph, you asked about
6 the strain on the power system over the last few days.
7 We have just had a five-year rate increase improved and
8 a big part of that was a power reliability program.
9 Really trying to strengthen the local distribution
10 network and to reduce vulnerability in the local
11 distribution network by both replacing poles, and
12 transformers, and a number of other things at the
13 distribution level. That wasn't designed to deal with,
14 necessarily, a heat storm. But recognizing that this
15 system has been aging and is, therefore, more vulnerable
16 when there are heat-related events.

17 And then I think looking at just diversity of
18 supply is a resilience measure. In addition to moving
19 from fossil fuels to renewable energy, as all of the
20 utilities in California are doing, looking at also the
21 benefits of distributed resources as providing some
22 additional resilience. Whether it's local solar, energy
23 storage locally, even electric vehicles as a potential
24 measure that helps us to be more resilient in the face
25 of potential disruptions. And we are working towards a

1 number of other types of storage projects.

2 We've also talked here about urban heat island
3 effect and the kinds of things that we can do to reduce
4 that, which also reduce energy use. And you've heard
5 about the Cool Roofs Ordinance in Los Angeles. But I
6 would just note that we continue to offer rebates for
7 cool roofs.

8 And we have, for many years, funded in large
9 part the City of Los Angeles' tree planting program, and
10 work closely with the city plants to make sure that
11 those investments will help us to save electricity.

12 And, of course, our energy efficiency programs
13 are also looking at ways to make our homes and
14 businesses use less energy, but also be more comfortable
15 in the light of potentially increasing temperatures.

16 I'm going to talk a little bit more, as
17 mentioned, about the sort of relationship between energy
18 and water and the management of water in those choices.
19 And as I said, we've looked at the energy intensity and
20 greenhouse gas intensity of various sources of water
21 that we rely on. The Los Angeles Aqueduct, as I said,
22 is a net generator of energy. And actually last year,
23 during the drought, for the first time really in 100
24 years there was no water flowing through the aqueduct to
25 Los Angeles. So, we lost all of that hydro production.

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 We also looked at other sources of water,
2 including imported water. Water we buy from the
3 Metropolitan Water District, that comes from the
4 California Aqueduct and from the Colorado River. And we
5 looked at recycled water and stormwater capture, and
6 desalination.

7 We looked at the relative energy intensity and
8 greenhouse gas intensity and found that L.A. Aqueduct
9 best when it comes to energy intensity and greenhouse
10 gas intensity. And the next was recycled water and
11 stormwater capture. And then after that, both the
12 California Aqueduct and the Colorado River Aqueduct
13 water because of the large amount of energy that's used
14 to move that into Southern California. And finally,
15 desalination being the most energy intensive and water
16 intensive.

17 So, as we look at a future where cycles of
18 drought and changes in hydrology make our water supplies
19 more vulnerable, we will continue to evaluate those
20 relative energy intensities and greenhouse gas
21 intensity.

22 And then one other note on the energy side, the
23 energy water side, there's been some analysis done as a
24 result of the water conservation that was in standards,
25 in place over the last couple of years, and some work

1 out of UC Davis. And we've looked at our own system and
2 noted that due to these conservation efforts and
3 reducing our water consumption by at least 16 percent,
4 we avoided over 40 million kilowatt hours in energy use.
5 So, there's definitely a big energy conservation benefit
6 to water conservation.

7 And just the last thing I'd mention, again some
8 others have mentioned, is the role of innovation and
9 helping us think through these. And we have started and
10 are in a partnership with the Los Angeles Clean Tech
11 Incubator, which is located in downtown Los Angeles, and
12 we share space with them.

13 And one thing that we're doing as a result of
14 having to deal with potential curtailments as a result
15 of Aliso Canyon, is actually holding a forum at the end
16 of the month with the L.A. Clean Tech Incubator to help
17 us focus on some of the innovative technologies that
18 could help us deal with the potential loss of supply.

19 So with that I'll stop, thanks.

20 COMMISSIONER DOUGLAS: Thank you.

21 MS. RAITT: Thank you. So, next is Tim Tutt
22 from the Sacramento Municipal Utility District.

23 MR. TUTT: Good afternoon and thanks for
24 inviting me. I want to start with an apology and a
25 caveat, if you will. I apologize for not wearing a

1 jacket today. The truth is, it was laid out and I just
2 forgot to bring it out to my car when I drove into work.

3 But you can think of it as a kind of adaptation,
4 if you will. It's a hot day out there. And as we get
5 more and more hot days, there might be fewer and fewer
6 jackets being worn. If that's a trend, I'm not sure
7 where it ends. But I'm going to stop with just that.

8 (Laughter)

9 MR. TUTT: And then the caveat is, our real
10 climate expert in terms of adaptation is Kathleen Ave.
11 She's not able to make it today, so I'm channeling her.
12 And if there are any really tough questions, I'm
13 probably going to have to take them back to her to get
14 the answers for you.

15 So, just a word about SMUD. I know most people
16 in the room know about SMUD. But we're the fifth
17 largest utility in the State. We're community owned and
18 community led by a seven-member electric board. So,
19 we're separate from any city or county government.
20 We're our own local entity.

21 And that board has a fairly sustainable target
22 or we wanted to develop a sustainable power supply. The
23 board has defined and adopted that as meaning we're
24 going to achieve a GHG goal of 90 percent below our 1990
25 emissions by 2050.

1 Right now, where are we on that path? We're at
2 about 26 percent renewables and 50 percent GHG free
3 resources. We have a big, 688-, 700-megawatt hydro
4 resource, which is very useful for us, for both
5 providing electricity that's GHG free, and integrating
6 of the new renewables that we're getting. We have no
7 nuclear, we have no coal.

8 We've recently signed some big new wind and
9 geothermal contracts. And we've gone out with a solar
10 RFO that's still being evaluated. And a non-solar RFO
11 is under development. So, we're continuing to procure
12 additional renewable energy.

13 So, clearly, for this purpose mitigation is not
14 on the agenda directly, but it is our first mission. We
15 have to reduce emissions to achieve ours and the State's
16 goals. Like the Hippocratic Oath, do no harm first.
17 Maybe in this case it would be do as little more harm as
18 you possibly can.

19 But we want to -- we want to engage in this
20 transition from predictable power sources, using fossil
21 fuels that have the GHG emissions that are causing the
22 problem to, at times, unpredictable or at least
23 intermittent resources, like solar and wind, that have
24 their own set of problems.

25 And one of the reasons we're doing this is

1 because we're a significant contributor as an industry,
2 and as an entity to the identified environmental
3 challenge, climate change. SMUD's power plants
4 represent pretty much the largest point sources of GHG
5 emissions in the Sacramento area. I presume a lot of
6 our plants are also the largest point sources generally
7 in their areas. There's industrial sources. But in
8 SMUD, really, it's the power plants.

9 And we also can be a very significant actor in
10 resolving these challenges. We have a lot of lower GHG
11 options that can be developed, as you have heard.
12 There's fuel switching, renewables, energy efficiency,
13 and so on. We can be the fuel switching option for a
14 variety of other GHG sources, as well. Transportation,
15 water and space heating. We will and can play an
16 increasing role in addressing climate change, reducing
17 GHG emissions by embracing and managing the widespread
18 electrification of our economy. That's our goal.

19 So, that's first. But we also have to be
20 prepared for impacts of the already-in-the-pipeline
21 change. And at SMUD, we're getting ready on three basic
22 fronts. The first is organizational. We now track
23 impacts from climate change, explicitly as an enterprise
24 risk. We have one of those, you know, red, yellow, and
25 green, and orange maps. And the impacts of climate

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 change on our operations is explicitly on that map. And
2 it's sort of a long-term risk, so it doesn't change much
3 at present. But it's there, ready to be part of the
4 enterprise risk platform.

5 We've also developed an initial analysis of
6 climate impacts on our system. That was done in 2012
7 and 2013. And there's a document available, if you're
8 interested in it. We're updating that document this
9 year and we plan to update that every four years, as the
10 science changes and improves, and we get more
11 information about what we need to do and what the
12 impacts actually are.

13 We have a policy, now, of using the results of
14 that impact analysis in all long-term planning, greater
15 than five years out, at SMUD. So, when we do an
16 integrated resource plan, we have to at least consider
17 and account for the results of this impact analysis on
18 our system.

19 And we participate in the community
20 collaborative analysis, as Craig has mentioned, and I'll
21 cover a little bit more later.

22 So, the second front I would say is sort of,
23 again, staying with the medical analogy, an "acute"
24 front. Helping make our community resilient to the
25 increasing probability of disasters as climate change

1 progresses.

2 So for SMUD, there's two main concerns. There's
3 urban heat storms and flooding caused by the chance of
4 atmospheric rivers greater -- you know, a lot of
5 rainfall in a short period of time. SMUD is a very --
6 Sacramento is a very flood prone area, as you know, and
7 also in the hot Central Valley.

8 So for those we see potential disasters
9 happening and we're trying to get ready for them. We've
10 doubled the incentives for our Cool Roof Retrofit
11 Program this year. And we're seeing greater uptake in
12 that.

13 We're examining electrification of bus routes,
14 particularly in disadvantaged community areas, trying to
15 establish resilient corridors, we might call them.

16 And we're looking with local governments on
17 local hazard mitigation plans, so identifying key
18 resources that we'll need for resiliency in disasters.
19 Again, particularly for the disadvantaged. Because, I
20 mean, many of us can deal with like an urban heat day.
21 We have air conditioning, we might have a pool or
22 something of that sort. But there are many people in
23 our community that can't easily deal with those and they
24 need an opportunity to go to cooling centers, where the
25 power will stay on, even if the power goes out at our

1 houses.

2 And then chronic, looking at the long-term
3 trends that impact or affect our resources,
4 infrastructure, the ability to deliver the essential
5 provide that we provide as reliably and as affordably as
6 we do today, hopefully, but with significant increases
7 in sustainability.

8 And the main issues there, again for SMUD in the
9 Sacramento area, are wildfires, changes in wind
10 patterns, changes in hydrology, and impacts on the
11 supporting infrastructure outside our service territory.
12 And we're not a natural gas utility, but we do use
13 natural gas and the natural gas, we get it through the
14 PG&E infrastructure. And we know that there might be
15 some vulnerabilities there that could prevent us, in
16 some circumstances, from using our power plants. And
17 that could be a problem if the power is needed.

18 So, what we're doing there is we're looking
19 again at mitigation efforts. We're doing a lot of
20 research on bio-sequestration, geographic-sequestration,
21 product-sequestration. Making some valuable or viable
22 consumer products out of CO₂, and other materials in the
23 environment.

24 Fuel switching, like I said, moving to
25 renewables, energy efficiency. Addressing high global

1 warming potential emissions. We've identified that
2 commercial refrigerants are an area where we could work
3 with our customers to switch to different kinds of
4 refrigerant systems and, hopefully, reduce the impact of
5 that high GWP pollutant. And also, at the same time,
6 maybe get a little bit of efficiency out of it.

7 Collaborations, as I mentioned, we are a member
8 of the Capital Region Climate Readiness Collaborative.
9 I think that they're meeting today and I think Kathleen
10 is chairing that collaborative this year. Obviously,
11 that makes us or puts us as part of the Alliance for
12 Regional Collaboratives for Climate Adaptation here in
13 the State. And we've also participate in the
14 Partnership for Energy Sector Climate Resilience that
15 was mentioned by Dr. Zamuda.

16 We're doing research in terms of hydrology, on
17 the potential for tree thinning. Not only to reduce
18 wildfires, but also potentially increase the amount of
19 flow in the streams. That seems to be an effect that
20 works in some places and doesn't work in other places.
21 So, we have to do a study just for our hydro resources
22 to see if it makes sense.

23 And then I'll give you some key lessons. This
24 is really -- we've noticed that this is organizational
25 change that's happening, including the long-term impacts

1 of climate change and planning. It's not what's been
2 done before and it requires organizational acceptance.
3 It's not necessarily easy to just come out with the idea
4 that this is a good thing to do and have the
5 organization say, yeah, we're on board. So, there's an
6 important effort to get everybody included in deciding
7 to move in this direction.

8 Another key lessons is that there is a lot of
9 benefit in community collaboration. We learn from our
10 community partners and they learn from us. A lot of the
11 avenues or measures that we identify would be something
12 that we couldn't do alone. We can be a major partner,
13 but we can't make the things that we see might be useful
14 for our community happen all by ourselves. That
15 collaboration is key.

16 And then I'll close with one other lesson, which
17 I think Nancy mentioned as well, and that is there's
18 really a need for a lot of innovation to make sure that
19 we understand what measures are going to really work for
20 us as we move forward.

21 And I'll just mention two, not are SMUD related,
22 but caught my eye recently. There's a retired guy in
23 Nepal that's making artificial glaciers for remote, high
24 desert villages, where the glaciers -- the glacier melt
25 is what they depend on for their summer water. And

1 those glaciers are disappearing. So, he's simply going
2 up to strategic places in the mountains and building
3 walls, rough walls that channel the water rainfall into
4 shadowy areas, where the water freezes and builds up
5 into a glacier. And, you know, that's a great low-tech
6 idea for that area. I doubt that it has much relevance
7 here, but we need those kinds of ideas as well.

8 And then, finally, a kind of adaptation that is
9 for a kind of climate adaptation that's already
10 happening. I was at a recent meeting of the Clean
11 Energy States Alliance, in Minneapolis, Minnesota. And
12 if you've never been there, they have to adapt to the
13 severe cold climate that they have every year. And so,
14 their downtown buildings all have networks of walkways
15 that are -- so that in the wintertime you can go miles
16 through downtown Minneapolis without ever going out into
17 the cold winter weather.

18 And, you know, there are ways of addressing the
19 changes that we're going to see with innovative ideas.

20 COMMISSIONER DOUGLAS: Thank you, Tim.

21 MS. RAITT: Thank you, Tim.

22 Next is Scott Tomashefsky from the Northern
23 California Power Authority -- Agency, excuse me.

24 MR. TOMASHEFSKY: Thank you, Heather, and good
25 afternoon.

1 And to Tim's point about the coat, I would
2 remind you that the person for which this room is named
3 for had a rule that if it was over 100 degrees that
4 there was no coat required. Although, I violated that
5 today. So, I'd just mention that as a point of
6 reference.

7 I have a unique role, I guess, on this panel, in
8 terms of the 15 members I represent, combined, don't
9 even close to the peak load of anyone else that's
10 sitting on this table. So, part of my objective is to
11 address the question of any concerns about publicly
12 owned utilities being involved in adaptation strategies.

13 It's one thing, DWP and SMUD are obviously going
14 to be involved in that in a number of different ways.
15 But once you get past those two, it becomes a question
16 of what happens below the line. And the line does go
17 fairly low in terms of size. Our smallest member is a
18 peak load of 4 megawatts and our largest member is
19 around 400 megawatts.

20 So, the range of what we represent, we have
21 about, roughly about 1,200 megawatts of load, about 3
22 percent of the State's load from our 15 members. We go
23 -- we're pretty typical of the California consumer. We
24 have Palo Alto, Santa Clara, we have Alameda, Port of
25 Oakland. We go down as far south as Lompoc. We got

1 into the Central Valley with Redding, and Roseville, and
2 then we go into the Sierras with Plumas Sierra and
3 Truckee/Donner. We also have Healdsburg and Ukiah in
4 the Bay Area, as well. So, it's a pretty good snapshot
5 in terms of what we do.

6 I think one of my objectives here is to just
7 kind of provide a little bit of a snapshot of how we are
8 involved in some of these adaptation activities. But I
9 also want to highlight some of the things that we have
10 been addressing. Which, one of which was actually
11 highlighted at the end of the 2015 IEPR, in terms of
12 wildfires, and so I'll start with that.

13 It's one thing to deal with your plants, we have
14 a geothermal plant in Lake County, about 100 megawatts.
15 We have a hydro plant in Calaveras County, about 250,
16 260 megawatts. And then we have a gas plant in Lodi,
17 around 300. And a couple of other smaller ones.

18 But when we deal with vegetation management,
19 especially as it comes -- as it relates to the hydro
20 plant and geothermal plant, last year was very
21 different. Because in the course of about three days we
22 were subject to two major wildfires.

23 The one in Butte County was interesting in the
24 sense that from what we understand Cal-Fire basically
25 had given up on the Highway 4 corridor because the fire

1 was so intense and, fortunately, the wind shifted. So,
2 we would have lost that thing, in addition to
3 communities just being devastated by those fires. So,
4 we were lucky there, in some respects.

5 In Lake County, at the Valley Fire, we
6 actually -- we had employees lose homes. We had the
7 fires actually come up to almost the plant site. So, we
8 actually didn't have any damage to the plant, itself.
9 But the transmission system that was bringing the power
10 down to the rest of the grid was basically put out of
11 play.

12 And then Cal Plant had major issues in terms of
13 they lost cooling towers, and to the tune they've lost
14 about 200 megawatts of load over about a six-month
15 period. And from what we understand, there's about 50
16 megawatts that's not going to come online again.

17 For us, we lost about three days and we actually
18 had our crews -- we had crews from each one of our
19 members send trucks up and they rebuilt 21 miles of
20 transmission lines in about three days. So, it was
21 pretty impressive what had happened in that capacity.

22 But what it did do is it really highlighted part
23 of the concern that we've been raising, not only at the
24 Air Resources Board we've been raising it, and in the
25 congressional world, we've also been raising it at the

1 State Legislature in terms of trying to align the
2 funding so that you don't take the finite funding of
3 resources that are basically tied towards a combination
4 of prevention and wildfire protection. And, basically,
5 deferring the fact that you have to deal with a lot more
6 firefighting, which takes away from your real preventive
7 measures that really take care of the problem.

8 So, what we've seen is when you start to look at
9 the issue of climate change and trying to get to our
10 greenhouse gas goals, as much as -- we've done very well
11 as a power sector. In fact, I think the Chairman's
12 actually said that in the last couple of weeks, how
13 we're 20 percent below 1990 levels as a sector. There's
14 no possible way that we're going to get to a 2030 target
15 if we don't deal with the wildfire issue.

16 So, that's been a big issue for us. In the
17 congressional discussions we've tried to get emergency
18 aspect of that put into the -- taken out of the main
19 budget. I think we're making some progress there, but
20 it's not a done deal.

21 On the State side, we've been dealing with
22 trying to look at it from perhaps one potential way of
23 using the Greenhouse Gas Reduction Funds to actually do
24 something that would have some lasting effects. So,
25 that's also in play.

1 And, of course, given how the last auction went
2 in terms of dollars, that raises questions as to the
3 viability of that funding source.

4 But the bottom line is that's a very important
5 area that just has to be reflected. And that's been an
6 organizational issue for all of us. It doesn't matter
7 how large or how small. That's our little way of
8 contributing, regardless of what size you are, and who
9 shows up to meetings, and who can participate. So, I
10 wanted to just kind of share that.

11 Then, I'll get more to the member activity.
12 From the wildfire stand point, actually we can start
13 north. Redding was involved -- the City of Redding was
14 actually involved in the Western Shasta Resource
15 Conservation District. In fact, the person that was the
16 principal author for that now works for the utility.

17 But one of the interesting aspects of that was
18 really related to wildfires, also dealing with erosion
19 and other things like that. Also drought, of course.
20 So, that's been a big, a big issue.

21 Interesting to that is that some of those
22 activities were actually an offshoot of a WESTCARB
23 project, which is basically managed by the Energy
24 Commission. And so, the idea behind having a water
25 adapt, an adaptation plan, along with forestry, was

1 really a product of that. Where you run into problems,
2 in some respects, is what happens in terms of next
3 steps? Because a lot of these things are funded by
4 grants and other things like that.

5 But then, when it comes to the next step, in
6 terms of how cities and counties deal with this, it
7 becomes sometimes difficult to address the funding of
8 how you get to the next step. And especially when
9 you're coming off of the recession of 2009. It was bad
10 enough to deal with cities and counties being
11 underwater, but they're very, very careful in terms of
12 how they deal with discretionary dollars. Much more so
13 than they probably ever were.

14 So in this respect what you'll find is you'll
15 find the adaptation strategies that happen at the State
16 level are really helpful things. And to the extent that
17 those things can be applied at the county and local
18 levels, those are good things that happen.

19 So, this is always about partnerships. This is
20 very different than dealing with the we're all going to
21 be at a 50 percent renewable by 2030. This is not an
22 individual direct, this has to be done by partnerships.
23 And it's never going to be something that's accomplished
24 by any individual utility.

25 And even when you look at it that way,

1 especially as you get to a smaller community and,
2 actually, even the large ones, Nancy had mentioned it,
3 it really becomes a city issue. It becomes, how do you
4 deal with it comprehensively. It's not a matter of how
5 is the utility going to address this question. That's
6 really not the question. It's how does the utility help
7 in having the city, and the county, and the region deal
8 with those issues? We're always part of the solution,
9 but we're never the answer. We're part of the answer.

10 So, from that stand point I wanted to shift
11 towards, with the rest of my time, towards the sea level
12 rise issue. Which, of course, becomes much more
13 interesting for our members that are around the Bay
14 Area, of course.

15 So, as I look at that, I guess as a starting
16 point I wanted to mention that Measure AA, which passed
17 as a parcel tax, that is in play, has a lot of
18 restoration activities and also, in addition to that,
19 flood control type of operations that are going to help
20 address some of those issues, especially for Palo Alto,
21 as they deal with areas in the South Bay. With San
22 Francisquito Creek, which I can never say correctly, so
23 I'm just going to say that slowly.

24 Because that creek feeds right into the Bay and
25 then goes right through East Palo Alto and then into

1 Palo Alto. So, they actually have some monitors on
2 their website that show where creek levels are at any
3 given time.

4 They also have, with respect to Santa Clara,
5 some of their transmission lines off their system are in
6 the extreme south part of the system. So, even though
7 they have been addressing things like water table issues
8 for years, they're actually ahead of the curve just by
9 virtue of the fact their water table is high. So, they
10 have concrete poles, and steel poles, and all the
11 casings to address that issue with respect to the
12 transmission system.

13 The distribution system becomes a little bit of
14 a different question. But from a transmission system,
15 it works out pretty well.

16 And I'd also note, at least, that Santa Clara
17 has been designated a tree city for about 27 years. So,
18 I guess we could say they're about two decades ahead of
19 the climate adaptation question from that stand point,
20 just to throw that in.

21 MS. RAITT: Just to let you know, we'll need to
22 close soon.

23 MR. TOMASHEFSKY: Okay, thank you. Just
24 briefly, then, with the case of Palo Alto, the Climate
25 Action Plan has guiding principles for sea level

1 response, so that's built into what they have addressed.
2 That's a -- there's an extensive amount of adaptation
3 information that's include in there.

4 With respect to the Port of Oakland, I wanted to
5 share some thoughts, just a thought or two there. They
6 are addressing the issue that projected sea level rises
7 by 2050 would basically inundate the airport, itself.
8 So, they are taking actions to deal with that. They're
9 working on rebuilding a perimeter wall around the
10 airport to deal with seismic risk and also sea level
11 rise. So, they've got a lot of things going on as well.

12 I'll just close by saying that in terms of the
13 San Francisco Bay Development Commission, we have a city
14 council member from Palo Alto who's on the board. We
15 have a member of the Board of Oakland, as part of their
16 policies for a Rising Bay Working Group.

17 Palo Alto, their mayor is also part of the San
18 Francisquito Creek JPA that's dealing with flood control
19 issues on that. So, there are a lot of folks that are
20 involved in these things. They're very much done at the
21 local level.

22 But what we do see is a lot of those efforts is
23 happening at the regional level. And so, the stuff that
24 you're doing to bring this material up and forward I
25 think is very timely. And we're happy to be part of the

1 process. But probably a little bit below the radar from
2 what everyone else is here. Thank you.

3 MS. RAITT: Thank you very much, Scott.

4 Next is Barry Anderson from Pacific Gas &
5 Electric.

6 MR. ANDERSON: Okay, great. Well, thank you and
7 good afternoon, everyone. We really appreciate the
8 opportunity to come here and speak, and share with you
9 what we're doing in this area.

10 Myself, I'm the lead for emergency preparedness
11 and response for PG&E. And I can tell you have a keen
12 interest in this. We're talking about changing climate
13 and I can tell you it's just been busy the last few
14 years, between wildfires, El Nino, extreme wind events,
15 the Napa earthquake. So, these type of things are
16 ongoing on our system.

17 Our general approach, we provide energy to
18 nearly 16 million Californians. We understand our
19 responsibility to both reducing our carbon footprint and
20 to adapt to changing climate conditions. Doing so is
21 integral to our efforts to provide safe, reliable,
22 affordable and clean energy.

23 At PG&E, we've been investigating the potential
24 physical risk of climate change to our system for
25 several years, now. We've identified a number of

1 potential risks to our business, including flooding, sea
2 level rise, temperature changes and wildfires, that I
3 mentioned. As we work on these risks, there are four
4 aspects to our approach.

5 The first one is all about emergency
6 preparedness and having good integrated plans across the
7 company in order to respond to these events. We take an
8 all hazards approach and that allows us to prepare.

9 From a perspective of external stakeholders, we
10 engage with federal, state and other local external
11 partners. As an example, we joined Dr. Zamuda just last
12 week, and other utilities, at a workshop that DOE
13 sponsored.

14 For longer term factors, and I'm going to talk a
15 little bit more about this in a second, it's about our
16 risk assessment process, and how we prioritize risk and
17 make sure that we have plans in place to control them.

18 And finally, we maintain in-house climate
19 scientists, meteorologists. This team has real great
20 insight into how wind, water, sea level rise impact our
21 assets and it's something that is real key.

22 So, our risk assessment process, we call it
23 Natural Hazard Asset Performance, which is called NHAP,
24 fancy acronym. It really is all about a cross-
25 functional team, so all of our lines of businesses

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 participate in this. And we evaluate our assets,
2 geospatially across our system. And we do it for
3 different treatments. And the treatments are the things
4 we've been talking about, but also including tsunamis,
5 volcanos, sea level rise, floods, extreme temperatures,
6 extreme wind, earthquakes. And that covers all our
7 assets, both gas and electric, but also our IT assets
8 and our buildings, as well.

9 This slide also shows a structured process for
10 that. We identify potential impacts to our assets that
11 would enable potential affected business units to
12 evaluate these risks and develop necessary plans and
13 adaptation strategies.

14 This slide shows the structured process that
15 we're talking about in order to conduct our risk
16 assessment. We're currently in phase two, when we
17 consider climate change. And we're assessing our assets
18 against different climate scenarios, and expect to
19 complete this work in the near months, and move to phase
20 three later this year.

21 The results feed into our emergency planning and
22 response activities. So, we continuously improve our
23 system. An example would be our earthquake modeling,
24 where that we've got damage models now, under different
25 scenarios of earthquakes that provide outputs 15 minutes

1 after a quake. And it tells us how many resources we
2 would need to deploy in order to respond in a certain
3 period of time.

4 When you run those scenarios, if the response
5 time requirement is long, that's unacceptable to our
6 customers and we have to look at mitigation, hardening
7 strategies, and so forth. So, it's that type of
8 modeling that we're looking at doing for these scenarios
9 that we've been talking about today.

10 And it also provides you an opportunity to do
11 that cost benefit analysis in terms of where's the best
12 way to invest within the infrastructure.

13 I'll move on to collaboration on resilience.
14 We're partnering better so we can understand the risk.
15 We recently partnered with the researchers at UC
16 Berkeley to assess the potential impacts on our natural
17 gas system from the long-term risk of sea level rise,
18 coupled with an extreme storm event and flooding. We've
19 overlaid sophisticated maps on our gas transmission
20 infrastructure to assess potential vulnerabilities and
21 impacts.

22 The research also looks at the San Francisco Bay
23 Area, Sacramento/San Joaquin Delta, and Coastal
24 California. It's still a work in progress, but when
25 complete will help us better understand and plan for the

1 response to these climate change risks. And this
2 research is funded through the CEC program and we're
3 grateful for this level of support.

4 Collaborating on resilience. We also studied
5 potential impacts on our electric assets. We
6 participated in the Bay Area Council of Economic
7 Institute report that found that a super storm and the
8 associated flooding would have over a \$10 billion impact
9 to the Bay Area economy. The report also included
10 PG&E's estimate that we'd have disruption to six
11 substations that could result in an economic impact of
12 \$125 million. An impact mitigated by PG&E's redundant
13 electric system.

14 We're collaborating with DOE and EPRI to assess
15 vulnerabilities and share best practices. We're engaged
16 in numerous local studies and initiatives. A good
17 example of this is we're working with San Mateo County
18 on a sea rise level effort.

19 And we also understand the critical need for
20 funding to support local resilience measures. We're
21 pleased to support the Measure AA for a clean and
22 healthy bay, which voters recently approved. It will
23 raise \$25 million over the next 20 years, to total of
24 \$500 million to fund critical flood protection and
25 conservation projects around San Francisco Bay.

1 We also announced a new Resilient Communities
2 Grant program. We're dedicated \$1 million, over five
3 years, to support local climate resilience planning
4 efforts. The program will launch next year. It will
5 use a competitive grant process to select projects.

6 So again, we thank you for the opportunity to
7 participate today and look forward to your questions.

8 COMMISSIONER DOUGLAS: Thank you.

9 MS. RAITT: Thanks.

10 Next is Adam Smith from Southern California
11 Edison.

12 MR. SMITH: Adam Smith with Southern California
13 Edison. Thank you very much for having us. Very happy
14 to be here today and share some updates from our
15 adaptation efforts.

16 Just briefly, to go over some of the goals and
17 basically the reason why we wanted to join the
18 Department of Energy Partnership. We're focused on
19 three things. You know, assessing current
20 vulnerabilities to climate change on our operations and
21 physical assets. Addressing existing vulnerabilities
22 with cost-effective solutions where we find those
23 vulnerabilities. And then, integrating climate data
24 into all relevant decisions at the utility.

25 You know, we approached the DOE Partnership,

1 really, as an opportunity to conduct a kind of basic gap
2 analysis between the current levels of resiliency, you
3 know, of our infrastructure, which is based around
4 historic extreme events, and averages, and kind of
5 engage directly with the State's Cal-Adapt tool. And
6 that's what I'll be focusing my presentation on today,
7 at the request of some of the people up there on the
8 main stage.

9 Our framework for this climate impact analysis,
10 you know, we kind of moved from choosing the right data
11 to doing something at the bottom there. The climate
12 impact analysis I've categorized as kind of the first
13 three of those bubbles. We moved from kind of, you
14 know, picking out the right data, which we had -- we
15 were the lucky beneficiary of a State that's done quite
16 a bit of thinking, and staff at the CEC that's pulled
17 together quite a wonderful Cal-Adapt tool.

18 We basically scrapped those data layers from the
19 Cal-Adapt tool, mapped them directly over our
20 infrastructure, and we were able to kind of identify, in
21 many instances, what we've been calling the climate risk
22 gap. This is kind of that gap in between current levels
23 of resilience and the impacts we feel, and from the
24 science we've been able to engage with, our
25 infrastructure and our operations will have to deal with

1 in the future.

2 That final bubble on the bottom right,
3 "determining the cost-effective actions", that is -- I
4 guess we've kind of conceptualized that as, you know,
5 kind of where the impact analysis ends and the real
6 resilience planning begins. We hope to explore a suite
7 of adaptation options to close that climate risk gap I
8 was talking about. We think the DOE collaboration is
9 going to be absolutely great on this front because you
10 have lots of utilities, from all over the United States,
11 asking these same kind of questions.

12 We also hope, as it was kind of mentioned a
13 little earlier, to engage with both POUs and other
14 stakeholders. I thought the urban heat island
15 presentation was absolutely wonderful. We are also very
16 focused on that specific threat and we'll be kind of
17 looking across, you know, hopefully, not just energy
18 sector actions that can kind of increase resilience.
19 But there are lots of, also, you know, other things like
20 cooler pavements, urban forestry that foreseeably could
21 help reduce the vulnerabilities that the energy sector
22 will be facing, but also carry co-benefits.

23 So, that's something we want to keep in our
24 minds as we're transitioning into the second phase of
25 the DOE Partnership.

1 Quickly here, an overview of our impact analysis
2 scope. We based -- the Cal-Adapt data is absolutely
3 great because it includes multiple, multiple years, all
4 the way out to 2100 in some cases. We tried to take
5 time slices, focusing in the near term out to year 2030,
6 2050, and then in the out year, 2085. Many of the
7 datasets go all the way to 2100. The fire risk maps
8 stopped at 2085. I'm 95 percent sure it was the fire
9 risk maps. So, we decided that was an okay place to
10 kind of cleave it off there. So, we had representative
11 time slices, three in a row, kind of spreading the --
12 you know, all the way out to the end of the century.

13 The scale, we focused on SCE service territory,
14 but we have data for all of California. As you'll see,
15 some beautiful pictures in a second. The infrastructure
16 we focused on, generation, transmission, substations and
17 distributions. You'll see right there how we kind of
18 focused.

19 This was kind, as we viewed it, the high level
20 prioritization right off the bat. We looked at the big
21 stuff. The stuff that has really, really big footprints
22 as far as impacts on our customers. I'll talk about
23 further prioritization in a second.

24 The climate impacts, like we said, we kind of
25 pulled up the Cal-Adapt website. I'll get to that in a

1 second.

2 You know, talking about this adaptation effort
3 as sort of a gap analysis we have -- you know, this is
4 happening in a context of a utility that's doing, you
5 know, quite a bit of the kind of all hazards approach to
6 business resiliency. We have internal groups that are
7 doing, you know, El Nino studies, focusing on the
8 impacts of bark beetle. We really, here, wanted to
9 engage with those forward looking projects and build off
10 the work that our colleagues have been doing at the
11 utility for quite a while.

12 To kind of give you maybe a bit of a crude
13 example, if this was one book, I'd view the climate --
14 you know, this climate change analysis as sort of an
15 addendum right now. What we hope to do, after we
16 complete this, is to have it be its own chapter at the
17 utilities.

18 So, additional outreach we've done. You know,
19 during this process we have tried to identify
20 partnership opportunities in community outreach. That
21 includes the MC4, which is the Mediterranean Cities
22 Climate Change Collaborative. It's a member of LARK and
23 that kind of gives us access to the ARCCA work that's
24 been ongoing.

25 Skipping along to try to really just discuss

1 some of the scenarios, models and data used, we focused
2 on -- and I could get into the reasons why. IBCC
3 Emission Scenario A2 and Global Circulation Model CCSM3,
4 and that's housed and kind of kept up by the -- I
5 believe it's the -- let me check -- National Center,
6 yeah, for Atmospheric Research. I already mentioned the
7 time slices.

8 What we tried to do there, and I think you heard
9 that global circulation model described a little bit
10 earlier, on one of the previous presentation, it's kind
11 of like the average model. You know, it's not the
12 hotter/drier, the hotter/wetter, it's kind of about in
13 the middle.

14 We focused on IPCC Emission Scenario A2, because
15 that's a higher emissions scenario where the impacts,
16 you can imagine, would be slightly more exaggerated.

17 This does put us in the kind of precarious
18 position of picking an emissions scenario and global
19 circulation model to work with. And we basically set
20 this whole system up to be iterative. Where we've
21 created this climate adaptation planning tool. If Cal-
22 Adapt, when it does get updated and there are new
23 datasets available, we could upload those at night, 5:00
24 p.m. in the evening, things will be ready for us with
25 additional readouts at 8:00 a.m. the next day.

1 This is an example of the spatial analysis. So,
2 what you do is when you take all of our owned
3 infrastructure and, of course, we've cleaved a lot of
4 the infrastructure out of here so you can actually see
5 what's going on. Black lines, transmission. The red
6 dot in the middle is Mesa Substation. I'll be kind of
7 using that as a reference point through the rest of my
8 examples. What you get, this is a time slice for
9 August, the maximum temp, and you can see right along
10 the right-hand side there -- I probably should stay by
11 the mic. But right along the right-hand side you see a
12 little readout for Mesa Substation.

13 This, if we kind of keep hopping along, doesn't
14 really tell you very much. But when you start looking
15 at the effect over time, keeping that same Mesa
16 Substation as a point of reference, you can see that
17 there's, you know, quite a bit of additional warming
18 that's happening in the west.

19 This moves from 2030, 2050 and 2085 at the
20 bottom. Too hard to see, but I could walk you through
21 in a bit.

22 I am red and green colorblind, so I don't like
23 those maps very much. I prefer my data like this, in
24 gray, and black and white, where it's a little bit
25 easier for me to read.

1 On the left, you can basically see all of the
2 risks which we analyzed. Those correspond to Cal-Adapt
3 data layers. The time slices which we took, 2030, 2050,
4 2085, and this is all a readout for that Mesa
5 Substation. We have this table for every large piece of
6 infrastructure we looked at.

7 This will help us dramatically. It's a bit of a
8 data dump, it's a lot of stuff, but this will help us.
9 Because what we can start to work through is we can
10 understand the delta. Where things will change the most
11 and this is kind of the second layer of prioritization,
12 where we can focus on where it seems that our
13 infrastructure may not be as prepared for the threats
14 that it may face in the future.

15 I think I'm kind of wrapping up here. So, I'll
16 kind of go through this fast. Key climate trends in
17 Southern California. We've heard a lot on this from
18 other presenters. Population centers in Southern
19 California to warm significantly.

20 This is actually -- the way we tried to focus
21 this is we did our own analysis, using the Cal-Adapt
22 datasets, and also tried to reach out to the literature.
23 You know, you've got Alex Hall and the guys at UCLA
24 doing really great work down there, so we tried to
25 leverage some of that as well.

1 Lots of increase in extreme heat days in our
2 service territory, especially even in San Gabriel
3 Valley. The geography of wildfire risk is changing.

4 This was one of the weird ones. There are some
5 places where there's historically been kind of a higher
6 risk of wildfire. But if you look in the way out years,
7 like about 2085, in some instances that actually drops
8 down, it decreases. Some people think it's vegetation
9 migration or, you know, other things. Basically, things
10 aren't growing there or living there anymore.

11 But it just brings up this interesting point
12 that sometimes you get these data readouts and it's all
13 wonderful, but you have to actually start engaging with
14 a wider set of experts to understand why that's
15 happening and what you can do to mitigate it.

16 Moving forward we are planning to further refine
17 our Climate Impact Analysis. That will include, when
18 Cal-Adapt finalizes the updates, we'll be running those
19 additional data layers. We're going to address a number
20 of the issues raised by the PUC Guidance Document that
21 Kristin mentioned earlier.

22 We're also trying to incorporate some of the
23 best practices from DOE partners. I think one of the
24 key ones will be really trying to get our head around
25 the probabilities of extreme events. That's something

1 that's not really in the Cal-Adapt dataset. But I think
2 we can -- we've learned quite a bit in our meetings with
3 Dr. Zamuda, so we hope to augment what we've done and
4 make it a little bit better.

5 Internally we have, you know, we're basically
6 presenting our findings and we've been doing this for
7 quite a while. Gathering the kind of physical and
8 operational mitigation options and cost estimates from
9 our internal folks. I've kind of mentioned the work
10 with external stakeholders.

11 I'll wrap up here. When we feel we're on track
12 to meet the DOE requirements in November. But, frankly,
13 I think this is a work that's going to continue for
14 quite a while and we look forward to that.

15 Early lessons, real quick. We feel like there's
16 already substantial resiliency built into our
17 infrastructure. I think that's something you've heard
18 from some of the other panelists today. But that's not
19 to say that these longer term impacts that are going to
20 require some changes on our part.

21 Some of the threat types like wildfire, extreme
22 heat events, drought, I thought Barry did a good job
23 explaining how it's kind of fitting into an all hazards
24 approach that's pretty much existing in many utilities
25 today. And we think that that can be expanded to

1 include some of this climate data.

2 We need clear and consensus driven climate
3 impact analysis tools. I think Cal-Adapt does a good
4 job and, frankly, it could help a lot of the folks that
5 don't have a large human resources and computational
6 resources to devote to something like this, to get their
7 head around what the impacts may be pretty quick.

8 There are a few remaining data hurdles. Spatial
9 averaging, I think there's some questions we have that
10 we're going to be reaching out to many of the experts
11 on, some in this room. And, hopefully, we can continue
12 the conversation and come up with some best practices to
13 address all that stuff in phase two of the DOE work.

14 That is it. Thanks.

15 MS. RAITT: Thank you very much, Adam.

16 So, next is Brian -- I'm sorry, I'm probably
17 going to say your name all wrong.

18 MR. D'AGOSTINO: D'Agostino.

19 MS. RAITT: D'Agostino, thank you, from San
20 Diego Gas & Electric.

21 MR. D'AGOSTINO: Perfect, thank you very much.
22 And good afternoon. I appreciate the opportunity to be
23 here to give a little bit of an overview of what we are
24 doing, now, at SDG&E to address this.

25 The role I play, I manage the Meteorology

1 Program at SDG&E, which is within Emergency Management.
2 And a lot of the work, as we heard earlier from Cal-OES,
3 a lot of the work that we're doing in this area exists
4 within our Emergency Management group now, but it is
5 expanding out.

6 With that regard, we really feel that
7 preparedness is a big part of resilience. So you'll
8 notice there the Weather Ready Nation Ambassador. We do
9 have that, that title. We're also, the National Weather
10 Service sees us as a storm-ready organization. And
11 these are things that we think are a very important
12 first step and foundation in terms of climate
13 adaptation.

14 We're going to talk a bit about our wildfire
15 resilience, and then I'd like to talk about our ICF
16 Project, which we heard a bit this morning, which we're
17 working on.

18 And then, I'll finish up, we've heard a bit
19 about enterprise risk, and that is a very large part of
20 how SDG&E envisions this integrating into our core
21 business. So, I want to give some more details on how
22 we are approaching that right now.

23 As we've heard over and over today, right now
24 climate adaptation it's real, and it's happening. And
25 for us, in San Diego, we first saw the Cedar Fire in

1 2003. And then, of course, 2007. The map you're seeing
2 here is all the areas in our county that have burned
3 since. And right now there's an active fire. I just
4 got a report it's at 6,019 acres in the southeast
5 portion of this map, which is not currently lit up. But
6 we'll have to update the map come tomorrow. So, we are
7 looking at, again, a very active wildfire.

8 So since, really, over the last decade we've
9 been working very hard at becoming more resilient to
10 wildfire.

11 I think how I want to start this is we go
12 through every year and we look really closely at our
13 Community Fire Safety Plan. And all the things that we
14 do to be resilient for wildfire. And the list we were
15 going through yesterday had 84 different actions that
16 are taken. And then if you break that up, some are with
17 emergency management, some are with operations, some are
18 with our aviation group, and so on. So, that true
19 decade-long embedded resilience crosses the whole
20 organization.

21 But we break it up. A way that we organize it
22 for us is -- and it's the 2014 definition of climate
23 resilience at the UN Climate Summit. It's the ability
24 to anticipate, prepare, react and recover from these
25 natural disasters while minimizing the impact on our

1 customers and society.

2 So, out of these 84 things that we do a lot of
3 them fit in, okay, is this what we're doing to
4 anticipate? Is this what we're doing to prepare? Is
5 this helping us react? Or, is this helping us recover?

6 So, part of -- I've taken just a few of those
7 84. But to anticipate it, we've developed a Meteorology
8 Group. We've developed a new way to rate the fire
9 potential every single day. It's called the Fire
10 Potential Index. It's actually moved beyond the walls
11 of the utility and now San Diego Fire and Rescue sends
12 it to all 1,200 of their firefighters every day because
13 it's become such an effective situational awareness
14 tool.

15 We've build the largest utility weather network
16 in the United States and probably the world, where we've
17 just crossed over 170 weather stations, monitoring
18 conditions on our network.

19 In terms of preparing, we've modified emergency
20 operations. We've modified day-to-day operations with
21 our reclosing policies and installation of
22 IntelliRupters, and other sophisticated switches on the
23 system. We stage crews. We collaborate with the
24 community. We are a member of the San Diego Climate
25 Collaborative. We'll meeting tomorrow in San Diego.

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 The Fire Coordination staff has been hired, so
2 we've actually built up, we have six fire coordinators.
3 So, an example of that was yesterday, as a fire was
4 threatening the 500 KV line, along the Mexico border, we
5 had fire coordinators working directly with the incident
6 commanders on the fire, which is part of that level of
7 collaboration that we need.

8 And then, of course, I think the wildfire has --
9 we're so far into that that there is a full hardening
10 project. We are a full wood to steel on the
11 transmission system. And we are looking at a full
12 hardening of all of the backcountry of San Diego. It's
13 a FIRM project, fire risk mitigation, where we're going
14 wood to steel and hardening the entire distribution
15 system. It's a decade-long project. This year, we
16 spent over \$80 million on that. And that's going to be
17 a continued investment until the project is done.

18 But what we have found is I wanted to discuss
19 here some of the tools and things that I heard earlier
20 today. One that resonated was how do we turn some of
21 this climate data into an operational tool that we can
22 make decisions with?

23 The Santa Ana Wildfire Threat Index is an
24 example of that. It's an hourly climatology. We heard
25 about dynamical downscaling earlier. There's 28

1 terabytes of data behind that graph, up at the top. But
2 what it is, is it takes that and it converts it into the
3 fire potential today is moderate, it's high, it's
4 extreme, so that the decision makers can actually look
5 at it. Because if we see a heat wave coming and we say,
6 yes, there's a heat wave coming, we need to know if it's
7 a category 1, 3 or 5 so that we can actually, as a
8 utility, respond appropriately.

9 I know just a couple years after we really got
10 into wildfire resilience, we would find that we would
11 take very large responses to events that were marginal.
12 So, making sure that we could react to these events in a
13 reasonable manner was important.

14 The other thing that I wanted to mention here is
15 when you're spending a decade to rebuilt your entire
16 backcountry, you need to find a way to prioritize what
17 goes first. And, really, how do you bring that type of
18 intel in? I mean, and you really need to assess the
19 magnitude and the probability of impacts. And I know
20 that's something we're doing with Craig, with the DOE.

21 With wildfire it's difficult. But what it's
22 taken is really state of the art wildfire modeling,
23 where we go in and do 1,800 simulations of every
24 possible wildfire ignition point that we have in San
25 Diego. So, they are 70 million wildfire simulations

1 later, we have a risk portfolio where we can start
2 prioritizing what gets hardened first, and how do we
3 minimize our risk the most by hardening certain
4 events -- or pardon me, certain assets. So, that's our
5 wildfire risk model.

6 A lot of the lessons that we have learned from
7 wildfire we are now expanding into our project with ICF.
8 And thank you, we have two projects right now with the
9 Energy Commission. One is to look at sea level rise
10 impacts along the San Diego coastline, and come up with
11 adaptation alternatives.

12 The other one that we're looking at looks at all
13 impacts to our gas system. But we're really treating it
14 as one project.

15 So, part of the screen, what you're looking at
16 here, the image on the right is actually a map showing
17 the sea level rise from the most recent CoSMoS, which
18 was released for San Diego in December. And from there,
19 down on the bottom, it's actually that very up to date
20 cliff erosion maps, where we can start overlaying it.
21 So, we're really starting to understand, you know, some
22 of the latest science and integrating it onto the
23 system.

24 And part of what this does is when we're looking
25 to identify and prioritize our vulnerabilities, develop

1 the inventory of assets, it's this GIS project where we
2 have all that data. It's all compiled and ICF is now
3 working to get all of this prioritized for us.

4 I'll speak briefly to the map on the left, for
5 those of you in the back that can't read some of it.
6 But the areas in red are known landslide areas. The
7 areas in yellow are areas that we're saying the
8 formations are prone to landslides. So now, we're
9 looking at the resiliency of our gas system and all
10 those assets that are in there we'll have to come up
11 with some mitigation strategy to deal with the potential
12 climate impacts in that area.

13 So, this is where we're at with this project.
14 Task 2 of our ICF project has been to develop a very
15 comprehensive vulnerability report for both our gas
16 system and our electric system. We did a high level
17 vulnerability report for Dr. Zamuda and the DOE. And
18 there's a lot of the additional detail is in our ICF
19 Vulnerability Report, which will be -- it's in the final
20 stages of completion now and we'll be updating that
21 here, soon.

22 As we look at Task 3, part of that is what
23 you're seeing on the map here behind us. It's that in-
24 depth, asset-by-asset piece there.

25 I know, for time's sake, I'm going to move on

1 because this is something that I want to talk about.
2 How are we going to take this information and get it
3 into the core business?

4 So, we've heard here, from multiple groups,
5 about enterprise risk. In 2015, climate adaptation was
6 added to Sempra Energy's Enterprise Risk. The
7 organization has, you know, over 40 risks and climate
8 adaptation was one of them.

9 Well, we came to the point when we really
10 started analyzing the risks and we did the vulnerability
11 report, we realized that climate can't be a risk on its
12 own, or it can be a risk on its own, but it touches so
13 many of those other risks.

14 So, we did an internal study within SDG&E, where
15 we cross-referenced the reports that we've done with ICF
16 and the reports that we've done with the DOE to our
17 preexisting risk registry. And then from there, you'll
18 notice these risks.

19 These are the risks that SDG&E currently has in
20 its registry, where we've added climate as a component
21 to that enterprise risk. So an example, wildfires of
22 course, with the change in drought and patterns. We've
23 always focused on the fall, where now we are having
24 6,000-acre fires in June. We had May fires in 2014.
25 Climate is impacting that. So that, all that

1 information gets integrated into the wildfire risk.

2 Natural gas supply gets addressed here. But
3 then even as we get into some of the additional specific
4 actions, this even gets into emergency spares is an
5 enterprise risk for the organization. So, then that's
6 the way that we get in and start making action with this
7 is that we add a climate component to the emergency
8 spares risk, if that makes sense.

9 Right now, SDG&E is planning their RAMP risk for
10 filing for the next GRC. We have a vulnerability matrix
11 of all of our risks to see which ones escalate to the
12 point that they'll be included in the RAMP risk. And
13 out of that, the ones you see with the asterisks there,
14 those are the ones that have been escalated to that next
15 level and will be part of our RAMP filing.

16 Electric infrastructure integrity is the parent
17 risk for sea level rise. Gas distribution. As we start
18 looking at different loads and other things.

19 For the interest of everybody's time, I want to
20 give us plenty of time for questions, so I'll end it
21 there. Thank you.

22 MS. RANDOLPH: I actually have a question about
23 the one red thing you didn't mention, which is DERS.
24 And I wanted to get a sense from folks how they're
25 dealing with non-utility owned generation assets and how

1 you're dealing with the risk to your system and climate
2 change, et cetera.

3 MR. D'AGOSTINO: So, what we have particularly
4 working at with this is the stuff that we own and is
5 within our service territory. There have been
6 discussions that the additional monsoonal heat and other
7 things pose a threat to all of our centralized
8 generation. Out over the deserts, the areas even more
9 prone to the monsoon than we are.

10 But other than that, what we have found is out
11 of that whole list, part of the reason that the
12 distributed energy resource hasn't been mentioned so
13 much with climate is that there's not a really evident,
14 right now, large impact to the San Diego area. I don't
15 want to speak for everybody else. But not a huge
16 climate impact on that, that we're detecting right now.

17 MS. RANDOLPH: Did anybody else want to talk
18 about distributed energy resources?

19 MR. SMITH: Yeah, I'll mention it. So, when we
20 talk about climate change it's -- you know, that's not
21 falling high in our risk ranking, just because of the
22 reserve margins, you know, power in the State right now.
23 But that's something that could change over time.

24 And if you take a look at the geospatial view of
25 where those resources are, they don't really touch

1 places where you have the sea level rise and other
2 areas, you know, because it's more of the urban areas,
3 and most of these facilities are located more in the
4 interior.

5 MS. RANDOLPH: Okay, that's helpful to know.

6 MR. TUTT: I guess what I'd say is that SMUD's
7 nearly finished with a comprehensive distributed energy
8 resource set of strategies, looking at not only
9 photovoltaics on our customers, but also our own, and
10 electric vehicles, and demand response and coming up
11 with implementation strategies. Which we're not final,
12 yet. I don't have them to give to you.

13 But I would mention, distributed energy
14 resources in this context, in two ways. One is the
15 resiliency issue that I mentioned before, identifying
16 areas that are important in time of a disaster to have
17 continued power with solar plus storage is something
18 that I think we'll be looking into in the future, and
19 with our local governments in collaboration and
20 partnership.

21 And then the second is I know that a lot of
22 people -- the urban heat island or the urban -- the heat
23 wave effect of climate change. One of the issues we see
24 is that that can affect our distribution infrastructure,
25 our transformers and so on that can get overloaded. Not

1 only from the heat in the afternoon of a hot day, but
2 also just the heat of the load covering all the air
3 conditioning.

4 And while distributed energy resources typically
5 don't provide power directly when the system load is at
6 its highest, what they can do is reduce the load on
7 those transformers and the distribution lines in the
8 afternoon, as the heat is building up. And that allows
9 them a little bit more room to be resilient when the
10 peak hits.

11 MS. RANDOLPH: Okay, and I will say -- and I'll
12 just make a quick comment that will kind of double as my
13 closing comment, and then I'll turn it over to my fellow
14 panelists for questions. Which is I was glad to hear
15 that you guys are starting to work on those overlays.
16 You know, the overlay between the data and the physical
17 system, and trying to identify those gaps. And so, that
18 was really good to see and looking forward to more
19 detail on that.

20 COMMISSIONER DOUGLAS: And, you know, I'll just
21 add that I'm also really glad to see the work on the
22 overlays, the geospatial work, the work with some of the
23 tools like Cal-Adapt.

24 I guess I'll ask one question and then we should
25 probably let our moderator ask one question, and then

1 maybe wrap up. And turn to public comment, I should
2 say. So, if anyone here would like to make a public
3 comment, you're about to have your chance.

4 My question is, you know, as you, as utilities,
5 proceed to work on climate adaptation, and consider
6 risks, to try to incorporate those risks into the way
7 you handle risk management or other operations, you
8 know, what are some of the best ways that the State can
9 be of assistance in simplifying, or providing guidance,
10 or anything else? You know, how can the State be most
11 helpful in this area, from your perspective.

12 MR. ANDERSON: I'm happy to at least maybe
13 start. I think the convening power of the State
14 agencies -- you know, they can collectively bring a lot
15 of people to the table. And when we're talking about
16 understanding the vulnerabilities of assets which we
17 don't own, but we rely upon, it's a very interconnected
18 grid, of course, and the power market is big and looking
19 like it's going to get bigger. Bringing those people to
20 the table, to understand their vulnerabilities, how
21 they're going about assessing them and what they may be
22 doing to adapt or mitigate those threats would be very
23 helpful.

24 You know, we can all do it individually. SDG&E
25 can go talk, I can go talk, PG&E, you know, SMUD, all

1 the other guys, we could all go up there and talk with
2 them individually, or we could kind of do it together.
3 And I think there may be some efficiencies in doing it
4 together.

5 COMMISSIONER DOUGLAS: Thank you. Other
6 thoughts on this?

7 Nancy?

8 MS. SUTLEY: You know, I think along the lines
9 of data and tools, we're already doing a lot of that.
10 But, you know, we don't have science or research
11 capability in a lot of these areas. And so, being able
12 to get that kind of information and have it also in the
13 form of not just raw data, but also tools.

14 I guess the one other thing I'd just mention is
15 we're sort of getting bombarded with requests for our
16 data for various -- you know, people wanting to run
17 scenarios and look at it. And that starts to be a
18 challenge from both a data privacy, as well as just a
19 kind of workload thing. And so, I think to the extent
20 the State can help us, help everybody sort of shape the
21 questions and the kinds of information that's, you know,
22 valuable, that helps us as well.

23 COMMISSIONER DOUGLAS: Thank you. Other
24 thoughts?

25 MR. D'AGOSTINO: Just one last thought. I've

1 found that as we're developing our sea level rise
2 thresholds we've been working very closely with the
3 communities through the Climate Collaborative. And I
4 know we're already in the process of doing it. But
5 almost continuing that we do it on a statewide. I know
6 we had that conversation this morning, with Guido. But
7 really, make it, hopefully, creating that environment
8 that we're not only doing it regionally, with the
9 cities, but then we're also doing it utility-to-utility,
10 and northern part of the State to southern part of the
11 State, if it makes sense.

12 COMMISSIONER DOUGLAS: It does, thank you.

13 And I think I'm going to just throw another
14 question in there. So, you know, as utilities, you're
15 all really kind of in the thick of climate adaptation,
16 in the sense of having to deliver services, and run --
17 not always large, but run organizations. And at the
18 same time interface with and manage, with varying levels
19 of resources that you're able to dedicate to it, but
20 manage the science, interface with the science, apply
21 it, and also interface on policy side in terms of being
22 at least part of the policy debate of what the right
23 steps are going forward, and how that should happen.

24 Do you have any thoughts about some of the
25 conversation earlier in the day, about how we can more

1 effectively bring together the science and research?
2 Not just agenda, but information into the realm of
3 implementation?

4 MR. SMITH: Yeah, I'll take a crack at that one,
5 first. To me, it would try to try to anchor ourselves
6 on what are the most likely scenarios to work on. You
7 know, when you're trying to solve for a problem that's
8 that wide, I think that would help. And I know it's
9 kind of a gray area.

10 But I think as we all work together, you know,
11 we're depending on one another for mutual aid. We're
12 depending on one another for emergency equipment and
13 things like that. And I think if we anchor on certain
14 scenarios that we'll all be prepared to help one another
15 out, as well.

16 COMMISSIONER DOUGLAS: Scott?

17 MR. TOMASHEFSKY: One thing that came to mind,
18 and during the height of the PIER Program you always had
19 your annual assessments, where you had several days of
20 discussions in terms of research.

21 If you did something similar to that, in terms
22 of here's adaptation strategies, so that you're bringing
23 that in some sort of symposium type of way, where you're
24 sharing information and research that can then be
25 filtered down to the various regional entities that are

1 looking at some of these issues on the ground. It
2 allows you to do some of that work that really would not
3 be done at that level, and then they can rely on that.
4 And then you do have the ability to deal with some of
5 the consistency of looking at a statewide approach
6 towards things.

7 And then, you can kind of customize it as you
8 deal with the issues. But it's a perfect opportunity to
9 do that type of work.

10 COMMISSIONER DOUGLAS: That's a really
11 interesting idea and it does help connect to experiences
12 on the ground and regional collaboratives.

13 And I noticed, I didn't remark on it, but PG&E's
14 grant program, that you're rolling out to provide
15 assistance to some of the local efforts I think is a
16 very helpful step.

17 Tim, were you reaching for the mic? Go ahead.

18 MR. TUTT: Yeah, I guess what I was going to add
19 is the standard answer in cases where there's a lot of
20 uncertainty and a long time frame out in the future
21 seems to be to be try to identify no regret strategies.
22 Things that you -- you know, you don't know what the
23 future's going to hold, but if you do this it's going to
24 be good in a variety of different scenarios.

25 I guess one example would be we know that with

1 increased heat there's going to be a -- maybe a 7
2 percent reduction in our generation potential from our
3 natural gas-fired power plants in 2050, 2080, whatever.

4 Well, that's beyond the useful life of those
5 assets. So, is it -- how do we handle the question of
6 dealing with that impact when the asset might not even
7 be there anymore.

8 COMMISSIONER DOUGLAS: Thanks.

9 Dr. Zamuda, one burning question, if you would
10 like?

11 DR. ZAMUDA: In appreciation for the expert
12 question to ask, and I respect the clock of the agenda,
13 I won't bore you with additional questions. I'll simply
14 acknowledge a job well done. It's a job that's evolving
15 as you move forward. There's always continuous
16 improvement. But I think the panel has demonstrated the
17 excellent position today and to build upon that as we
18 move forward.

19 COMMISSIONER DOUGLAS: Great. Well, thank you
20 for that comment. Thanks for your help with this panel.

21 And I'm just checking, anymore questions?

22 Well, really appreciate both your work in this
23 area and your participation here today. I know we got a
24 lot out of hearing what you had to say and appreciate
25 it. And so with that, thank you very much.

1 And let me now turn to public comment. Heather,
2 do we have blue cards out?

3 MS. RAITT: There are blue cards, but I didn't
4 receive any.

5 COMMISSIONER DOUGLAS: All right. Well, if you
6 are here and would like to make public comment, whether
7 or not you filled out a blue card, this is your moment.
8 Please come forward, just stand up and come up to the
9 podium, if you'd like. Please.

10 MS. HAYWOOD: Apologies that I missed the blue
11 card memo. I will keep it short. I have three minutes
12 here. I just wanted to give a quick perspective from
13 the New Technology basis. I know we talked a little bit
14 about some clean tech innovation topics. And a little
15 bit on what we believe is the importance of leverage, of
16 using with the resulting process moving forward, after
17 these IEPR conversations, specifically on using grant
18 money in different programs, whether at the CEC, DWR,
19 DOE, and other entities for leveraging private capital.
20 Specifically, to help scale up very important technology
21 innovations that will help address a lot of the issues
22 that we discussed today.

23 COMMISSIONER DOUGLAS: Okay, and I'm sorry. As
24 maybe you were about to say, but if you could identify
25 yourself and any affiliation for the record, please?

1 MS. HARWOOD: So, my name's Meghan Harwood and
2 I'm with Natel Energy. And we are a low head
3 distributed hydropower company, based out of Alameda, in
4 the Bay Area. So, we manufacture a new type of low
5 head, fish-friendly, hydropower turbine. And here, in
6 California, we are focusing explicitly on -- as our
7 first market on drops in existing irrigation
8 infrastructure.

9 And so, some of our climate resilience work has
10 focused on specifically pairing some of the projects
11 that we're pursuing here, and with irrigation districts,
12 with other climate resilience, both water management, as
13 well as grid services strategies. So, that has included
14 talking with a couple of districts in the Central Valley
15 on pairing projects that are -- you know, that are
16 generating new baseload renewable energy generation
17 that's distributed, low head, and flexible over time.
18 Unlike conventional hydropower has been, as we've seen.
19 With projects that are focusing on water management
20 strategy, such as diversion of winter flows for
21 groundwater recharge, or flood mitigation purposes, as
22 well as explicitly pairing our projects with more
23 intermittent sources. Specifically with solar, where we
24 can provide flexible -- where we can provide innovation
25 on the control side for flexible dispatch, to help firm

1 some of those -- to help firm intermittent sources. And
2 if you're delivering at the interconnection point,
3 provide a higher quality grid service.

4 And so on that note, I just wanted to highlight
5 the important moving forward with these conversations on
6 creating a framework for programs that can help mobilize
7 private investment. So, we've been pretty active in
8 some of the CEC, some of the EPIC programs, specifically
9 grant programs, as well as some of -- we've kind of been
10 in the loop and keeping track of some of the DWR water
11 energy grant programs. And have been very involved with
12 DOE programs in the past.

13 And we think that it's very important that in
14 order to achieve the scale that's necessary for the
15 urgency in the short term, immediate urgency of
16 delivering on some of these solutions that pursuing
17 grant programs, focus not just -- I mean, we have
18 benefitted a lot from some of the R&D focused
19 programming. And there's a lot of data that's very
20 important for us and for other entities. But that they
21 also focus on kind of piloting and early
22 commercialization programs that allow early stage
23 technologies to prove out their technology in a state,
24 and then scale from there and then really deliver on
25 that necessary scale. So, that's just a quick

1 perspective.

2 COMMISSIONER DOUGLAS: Thank you for your
3 comments.

4 Other people with public comments in the room?

5 All right, let's turn to the WebEx.

6 MS. RAITT: I don't think we have anything on
7 WebEx.

8 COMMISSIONER DOUGLAS: Okay, great. And nothing
9 on the phone lines?

10 MS. RAITT: Yeah, so we will open up the phone
11 lines. If you're on the phone, please mute the line
12 unless you'd like to make comments.

13 Okay, I think that's it.

14 COMMISSIONER DOUGLAS: All right. Well, I'd
15 like to thank everyone for hanging in there with us
16 through a long day. And we're adjourned.

17 (Thereupon, the Workshop was adjourned at
18 5:01 p.m.)

19 --oOo--

20

21

22

23

24


25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 26th day of July, 2016.




Kent Odell
CER**00548

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 26th day of July, 2016.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520