

DOCKETED

Docket Number:	16-OIR-04
Project Title:	Integrated Resource Plans (Publicly Owned Utilities)
TN #:	215163
Document Title:	Transcript of 12/13/16 Lead Commissioner Workshop on Renewable Energy and the Integrated Resource Plans
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	1/5/2017 10:57:06 AM
Docketed Date:	1/5/2017

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the matter of,)
) Docket No. 16-OIR-04
)
Integrated Resource Plans)
(Publicly Owned Utilities))

**LEAD COMMISSIONER WORKSHOP ON RENEWABLE ENERGY
AND THE INTEGRATED RESOURCE PLANS**

CALIFORNIA ENERGY COMMISSION
FIRST FLOOR, ART ROSENFELD HEARING ROOM
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

TUESDAY, DECEMBER 13, 2016

1:00 P.M.

Reported By:
Kent Odell

APPEARANCES

Commissioners

David Hochschild, Lead Commissioner for Renewable Energy

Karen Douglas, Lead Commissioner for Siting

CEC Staff Present

Courtney Smith, Deputy Director, Renewable Energy
Division

Presenters

Laura Wisland, Union of Concerned Scientists

Nick Schlag, Energy and Environmental Economics (E3)

Justin Wynne, California Municipal Utility Association
(CMUA)

Tanya DeRivi, Southern California Public Power Authority
(SCPPA)

Scott Tomashefsky, Northern California Power Agency
(NCPA)

Scott Harding, Imperial Irrigation District (IID)

James Barner, Los Angeles Department of Water and
Power (LADWP)

Jim Stack, Palo Alto Utilities

Bryan Swann, Sacramento Municipal District (SMUD)

Lincoln Bleveans, Burbank Water and Power

INDEX

	Page
Introduction and opening remarks Commissioner David Hochschild	9
Renewable Portfolio Standard and Integrated Resource Plans Background, Renewables Component Courtney Smith, Renewable Energy Division	10
Meeting SB 350 RPS Goal California's Clean Energy and Climate Goals Laura Wisland, Union of Concerned Scientists	19
Achieving 50% RPS Nick Schlag, E3	26
Presentations by Publicly Owned Utilities and their Representatives:	
CMUA/SCPPA/NCPA Joint Presentation	39
Justin Wynne, California Municipal Utility Association	73
Tanya De Rivi, Southern California Public Power Authority	59
Scott Tomashefsky, Northern California Power Agency	39
Scott Harding - IID	80
James Barner - LADWP	93
Jim Stack - Palo Alto	105
Bryan Swann - SMUD	114
Lincoln Bleveans - Burbank	122
Public Comments	131
Closing Remarks and Discussion	132
Adjournment	132
Reporter's Certificate	133
Transcriber's Certificate	134

P R O C E E D I N G S

1
2 DECEMBER 13, 2016

1:00 P.M.

3 MS. SMITH: Good afternoon, everyone. I think
4 we're going to get started here. I'm excited to welcome
5 everyone here, today, for the Energy Commission's Lead
6 Commissioner Workshop, focused on renewable energy
7 issues, as part of Local Publicly Owned Utilities
8 Integrated Resource Planning.

9 I'm Courtney Smith. I'm the Deputy Director of
10 the Renewable Energy Division here, at the Energy
11 Commission.

12 So, before I go over today's game plan and turn
13 it over to Commissioner Hochschild, for some opening
14 remarks, I have a couple housekeeping things I have to
15 go through. So, just bear with me.

16 So, for those of you who are not familiar with
17 the building, the closest restrooms are located right
18 outside these double doors, across the hallway. There's
19 a snack bar on the second floor, under the white awning.

20 And, lastly, in the event of an emergency and
21 the building is evacuated, please follow our employees
22 to the appropriate exits. We actually convene at the
23 Roosevelt Park, which is caddy-corner, across the street
24 from this building. Please proceed calmly and quickly,
25 again following the employees with whom you are meeting,

1 to safely exit the building. Thank you.

2 Okay. In addition to us, in the room, we also
3 are joined by several folks remotely, through WebEx,
4 including two of our presenters today. So, a couple of
5 instructions for those who are joining us on WebEx.

6 Please keep your line muted during the workshop
7 and keep your questions and comments until the public
8 comment period, at the end of the presentation. You can
9 participate through the chat feature, and make a comment
10 during the public comment period.

11 When asking any question or comments, please
12 identify your name or affiliation. If you'd like to ask
13 a question or make a comment, you can also raise the
14 hand function to notify us, and we'll unmute your
15 individual line during the public comment section, and
16 then ask you to comment.

17 So, again, please make sure all of the lines are
18 muted from your end, as well. So that when staff unmute
19 you, we don't get the background noise from individuals
20 not intending to speak.

21 Participants can also type any questions they
22 may have in the chat box. And, again, include your name
23 and your affiliation.

24 If volume or presentation issues occur, please
25 send a chat message.

1 Okay. For the game plan today, after
2 Commissioner Hochschild shares some opening thoughts for
3 today's proceedings, I'm going to walk through the
4 policy landscape that we recognize POUs are facing,
5 including requirements to submit IRPs. And I'll also
6 provide the purpose of the workshop today.

7 That will be followed by two presentations, by
8 energy experts, who will discuss the benefits of
9 California's renewable energy targets, as well as some
10 considerations on how to get there.

11 And then, for the majority of the day, we are
12 going to be hearing from the POUs, themselves.

13 This will be followed by a public comment
14 period. We have our Public Adviser's Office represented
15 in the back of the room. So, if anyone would like to
16 make a public comment, please pick up a blue card from
17 Jocelyn. Jocelyn, is in the back of the room. We will
18 collect those during the public comment period.

19 So, with that, I'm going to turn it over to
20 Commissioner David Hochschild, who's the Lead
21 Commissioner for Renewable Energy here, at the
22 California Energy Commission, for some introductory
23 remarks.

24 COMMISSIONER HOCHSCHILD: Great. Thank you,
25 Courtney. Before I say a few words, let me just take a

1 minute, if we could just go around and everyone can just
2 quickly introduce themselves. We have a small group
3 here today. And then, would you just go ahead?

4 MR. CAMACHO: Emilio Camacho, Chief of Staff to
5 Commissioner Hochschild.

6 COMMISSIONER HOCHSCHILD: Do you want to just
7 stand up or quickly -- Laurie -- well, go ahead.

8 MR. SCHLAG: Hi. Nick Schlag, with Energy and
9 Environmental Economics.

10 MR. BARNER: James Barner, with LADWP,
11 Integrated Resource Planning.

12 MS. LEE: I'm Natalie Lee. I'm the Office
13 Manager in the Renewable Energy Division.

14 MR. O'NEILL: Garry O'Neill. I work for the
15 Energy Commission, in the Energy Assessments Division.

16 MS. WASINGER: Camille Wasinger. I'm with
17 Recurrent Energy.

18 MR. ALVARADO: Al Alvarado, with the Energy
19 Commission

20 MS. WISLAND: Hi, everybody. I'm Laura Wisland,
21 with the Union of Concerned Scientists.

22 MR. WYNNE: Justin Wynne, on behalf of the
23 California Municipal Utilities Association.

24 MR. TOMASHEFSKY: Scott Tomashefsky, Northern
25 California Power Agency.

1 MS. HUGHES: Kathleen Hughes, Silicon Valley
2 Power.

3 MR. SEVERSON: Dan Severson, Turlock Irrigation
4 District.

5 MR. TUTT: Hi, Tim Tutt, SMUD number one.

6 (Laughter)

7 MS. DERIVI: Tanya DeRivi, Southern California
8 Public Power Authority.

9 MR. HARDING: Scott Harding, Imperial Irrigation
10 District.

11 MR. SWANN: Bryan Swann, SMUD number two,
12 Resource Planning.

13 MR. MARTIN: Scott Martin, SMUD number three.

14 MR. SCHELL: David Schell (phonetic), with
15 Roseville Electric.

16 MS. SICHON: Connie Sichon, Energy Commission.

17 MR. KASTIGAR: Ryan Kastigar (phonetic), Energy
18 Commission.

19 MR. SMITH: Connor Smith, Energy Commission.

20 MS. GREEN: Lynette Green, Energy Commission,
21 RPS Program.

22 MR. RIDER: Ken Rider, Advisor to Commissioner
23 Hochschild.

24 MR. MATHIAS: John Mathias, Energy Commission.

25 MS. SAMRA: Mandip Samra, Edison.

1 COMMISSIONER HOCHSCHILD: Thank you. Is that
2 everybody? Great, thank you all.

3 And, Tim, when you said SMUD number one, I don't
4 know, did you mean SMUD is number one, or you're the
5 number one --

6 (Laughter)

7 COMMISSIONER HOCHSCHILD: Well, welcome.
8 Welcome to you all. I just want to just make a few very
9 brief remarks. Just, obviously, we're in a very
10 different landscape politically, with the election. And
11 just to kind of reiterate the obvious, California's
12 commitment, actually, to our clean energy goals is now
13 stronger than ever. The Governor, and the Legislature,
14 and all of us in the California energy community, and
15 policy community are really doubling down. And the
16 goal, right now, is really for California to succeed at
17 every policy goal that we've set out, and to really be
18 an international model.

19 I just returned, as part of the California
20 delegation, to Marrakech, Morocco, for the follow up to
21 the Paris agreement of last year. And people are really
22 looking to our State for leadership.

23 And we've now signed, with the Governor's
24 leadership, 166 agreements on this Under 2 MOU, with
25 states around the world, representing 35 percent of

1 global GDP.

2 And, so, I think the general sentiment in the
3 State is to put our foot on the accelerator, actually
4 not the brake, in light of this new political landscape
5 we find ourselves in. And we want to continue to
6 partner with all of you to succeed.

7 That's the goal, we want all of you to succeed
8 in meeting your goals, and to have as friction-free a
9 process as we can possibly do. As, obviously,
10 constraints around how much we are able to adjust as we
11 move forward. But that's just the general sentiment I
12 wanted to convey to you.

13 I also just wanted to, again, congratulate our
14 new Division Director, Courtney Smith, who took over
15 earlier this her. And her tremendous team, really
16 working to make the Energy Division as modernized and
17 streamlined in our process, as we possibly can.

18 So, I'll stop at that and we can pick it up as
19 we go through the day. So, Courtney, back to you.

20 MS. SMITH: Great. So, I thought it would be
21 useful to start with why we're here.

22 As many of you guys are already aware, SB 350
23 directs the Energy Commission to develop guidelines to
24 inform the development of integrated resource plans by
25 Publicly Owned Utilities.

1 And as part of that guideline development
2 process, the Energy Commission has held a series of
3 workshops and activities focused on the guideline
4 development, and the process.

5 But in addition to that suite of activities
6 that, really, are focused on developing guideline
7 language, we are also holding three, topically-focused
8 workshops that are really aimed at informing the
9 guideline development process.

10 We had a workshop focused on the State's energy
11 efficiency goals, in early October. Many of you were in
12 attendance at our workshop focused on transportation
13 electrification.

14 And today's workshop is the third of that series
15 of three topical workshops. Today, we're really focused
16 on the renewable energy issues that POUs will have to
17 consider and address as they develop IRPs.

18 So, as we'll review today, POUs really will need
19 to reflect a lot in their IRPs. A pretty aggressive
20 renewable energy target, strategies to integrate that,
21 as well as a whole host of other considerations.

22 So, the purpose for today, really, is twofold.
23 First, we're hoping to get a better understanding from
24 POUs, themselves, what they consider to be the barriers
25 that they will have to overcome in achieving a 50-

1 percent renewable energy target. And, second, how that
2 would be reflected in their IRP.

3 And then, the second major point of this
4 workshop is a little more specific. We're really
5 looking for POUs to let us know if there's any
6 information or resources that we can provide to help,
7 and to assist, as you go through the IRP development
8 process.

9 So, for instance, would it be helpful for us to
10 provide a standard set of assumptions around storage
11 cost, for instance?

12 Those are really the two guiding objectives of
13 today's workshop.

14 As we start our discussion today, I think it's
15 important, really, to recognize the complex regulatory
16 landscape that load-serving entities, and specifically,
17 Publicly-Owned Utilities, have to face today.
18 California's energy and climate policies, over the last
19 ten years, really have dramatically shaped California's
20 electrical generating system, while improving its
21 environmental performance.

22 The State has implemented a whole host of
23 policies that support the State's climate goals, that
24 bring about more renewable energy, energy efficiency
25 investments. We've been working to encourage

1 distributed generation and move away from high-emitting
2 resources, such as coal.

3 Some of the State energy and climate policies
4 that we've implemented to achieve this include the
5 State's RPS, the Emissions Performance Standard, and
6 California's Cap and Trade Program.

7 In addition to that, the State has also
8 established policies that really are aimed at improving
9 the environmental and public health impacts of our power
10 systems. Including, policies aimed at reducing the
11 transportation systems emissions, including strategies
12 for electrification, and efforts to minimize negative
13 impacts on resources. So, for instance, California's
14 once-through cooling policy.

15 Implementing this suite of policies has helped
16 California achieve a lot of its policy goals. It also
17 has affected the customer side of things. So, there
18 have been continued energy efficiency improvements, as
19 well as the emergence of distributed generation.

20 At this time of rapid expansion of renewable
21 resources in the last year, actually is starting to
22 present some additional challenges, such as land use
23 challenges, and environmental challenges that the State
24 is working to address. So, this is a high level
25 overview of State policy in the last 10 years. But I

1 think it's safe to say that adding to this legacy, the
2 most recent advancement to State energy policy has,
3 undoubtedly, been the enactment of SB 350, last year.

4 SB 350 is a landmark bill that really codifies a
5 lot of Governor Brown's climate and energy goals. So,
6 just a really quick overview of some of the main changes
7 that it brings.

8 It extends California's RPS to 50 percent. It
9 sets a goal of doubling energy efficiency savings within
10 the same time period. It also requires the Air
11 Resources Board, in consultation with the California
12 Public Utilities Commission, and the Energy Commission,
13 to set emission targets for both the electricity sector
14 and for very specific load-serving entities to help
15 achieve the statewide, 2030 GHG target.

16 And then, lastly, SB 350 requires retail energy
17 sellers to develop integrated resource plans. And this
18 is really to allow for a more cohesive examination of
19 how utilities will be able to marry together the
20 different policies and mandates, as well as some of
21 their other driving policies, together.

22 And, to assist with that, the Energy Commission
23 has been tasked with developing guidelines for the
24 development of the IRPs for the requisite POUs.

25 Just to delve, quickly, into a little more

1 detail on what SB 350, how it impacts California's
2 renewable policies. So, SB 350 really has made
3 California's RPS one of the most progressive renewable
4 energy policies in the nation.

5 Enacted by Senate Bill 1078, back in 2002, with
6 bipartisan support, and expanded and accelerated with
7 subsequent legislation, California's RPS essentially
8 establishes increasingly progressive renewable energy
9 targets that have to be met by load-serving entities.
10 So, it requires both retail sellers, as well as local
11 POUs, to increase their procurement of eligible
12 renewable energy resources.

13 SB 350 built on the target of 33 percent, by
14 2020, and expanded it to 50 percent by 2030.

15 One quick note. In addition to expanding the
16 State's RPS, it also introduced a couple of other
17 requirements, including the long-term contracting
18 requirement, and also increasing the program's portfolio
19 balance requirements.

20 In terms of the State's progress to date, the
21 Energy Commission estimates that about 26 percent of the
22 electricity retail sales, in 2015, were provided by
23 renewable energy sources.

24 The graph on the right here shows, essentially,
25 from 2016 on what the expected RPS targets would be to

1 reach the SB 350 goal of 50 percent.

2 Really, the take home here is that given that
3 we're currently, at 26, 27 percent, we effectively have
4 to double the amount of renewable energy being used in
5 this State between now and 2030.

6 This is a pretty ambitious target. And the path
7 to achieving it is far from solved. To help chart a
8 path for achieving this, essentially, doubling of
9 renewable energy, as well as some of our State's other
10 energy goals, SB 350 requires the largest utilities in
11 the State to develop an Integrated Resource Plan.

12 So, an IRP is essentially a planning activity.
13 It provides a roadmap for how a utility can provide
14 reliable, least-cost services to their customers, while
15 also meeting our State's policy goals by -- so,
16 identifying and overcoming both physical and operational
17 constraints, addressing customer preferences, and many
18 other priorities.

19 But these plans don't only create a roadmap for
20 utilities, it also really creates a framework for the
21 State to be able to evaluate how utilities will choose
22 to align with the State's greenhouse emission reduction
23 targets, as well as other policies that are outlined in
24 SB 350. So, including the State's RPS, energy
25 efficiency, and transportation electrification targets.

1 Just one thing to note, IRPs are not static
2 documents. They really are expected to change over time
3 to reflect changing conditions. And, so, as such,
4 utilities are required to update their IRPs every five
5 years.

6 The POU's that are required to submit IRPs,
7 according to statute, are those with an average annual
8 load that's greater than 700 gigawatts, averaged over
9 the 2013 to 2016 time frame. They're required to adopt
10 IRPs by January 1st, 2019, and submit them to the
11 Commission.

12 Based on historical data, the 16 POU's, that you
13 see listed here, are expected to be required to file an
14 IRP with the Commission.

15 As POU's are developing their IRPs, they're going
16 to have a lot to think about. There really are no
17 implemented models for how we reach a 50 percent
18 renewables penetration rate. Meaning California really
19 is uniquely grappling with how we get to the next level
20 in terms of transitioning to a clean economy.

21 We anticipate that through this IRP process POU's
22 are going to have to consider a whole host of issues.
23 They're going to have to consider costs and mix of
24 renewables, how to integrate those renewables, and
25 account for mismatches in timing between supply and

1 demand. They're going to have consider provisions of
2 ancillary services, the role of storage, how to
3 accommodate DG, changing demand patterns with the
4 electrification of the transportation system and, also,
5 all of the transmission support that's going to be
6 needed to support these changes.

7 So, no doubt, the issues that will have to be
8 solved are complicated and they're really
9 interconnected.

10 Given this complex landscape of issues, and also
11 requirements POU's must satisfy as they develop IRPs,
12 we're really hoping, today, to hear from you what you
13 anticipate those challenges may be, as we move towards a
14 50 percent renewable energy target.

15 We also are hoping to hear a little bit about
16 what you see the role of DG and storage playing, as we
17 move forward.

18 And then, lastly, and I mentioned this earlier,
19 but it's an important point, we want to know if there's
20 any sort of information or resources that the Energy
21 Commission could provide as you move forward in your IRP
22 planning process.

23 This information will really help us to make
24 sure you guys have the resources that you need, and that
25 we're supporting you. But then, the information that we

1 gather here, today, will also inform and guide some
2 long-term policy decisions.

3 Real quick, in addition to our discussion today,
4 including a time for public comment at the end, we'll
5 also encourage folks to submit written comment.
6 Instructions for doing so are on this slide. Please
7 note that there is a deadline of December 30th.

8 And then, all of today's presentations and
9 comments are going to be made publicly available on the
10 website.

11 And, finally, if you have any follow up on
12 today's workshop, don't hesitate to reach out to myself,
13 or my colleagues, with any questions or concerns you may
14 have.

15 So, with that, I would like to now invite Laura
16 Wisland, from the Union of Concerned Scientists, who
17 will be kicking us off with an overview of the role of
18 California's renewable energy policy, and the role it's
19 played in achieving the State's climate and energy
20 goals.

21 MS. WISLAND: Okay, thank you, Courtney, so
22 much. Again, my name is Laura Wisland. I'm a Senior
23 Energy Analyst with the Union of Concerned Scientists.
24 We're a national, science-based nonprofit. Our
25 headquarters is in Cambridge, Massachusetts, but I work

1 out of the Oakland office. I've been with UCS for about
2 eight years, and focused, for a long time, on
3 development and implementation of the RPS policies.
4 Over the years, and more recently, doing some work
5 integration. So, I really appreciate the opportunity to
6 be here today, and especially to listen at the end of
7 this session, about where the POUs are, the challenges
8 they face, and how organizations, like ours, can help in
9 the future.

10 So, with that, let me start. So, I'm here today
11 to talk about the role of the RPS in California's
12 climate and energy goals. But I think, before I get
13 into that, I just wanted to mention that there are
14 additional reasons why we're doing an RPS in California.
15 In fact, in 2002, the most important reason to enact a
16 policy that required utilities to source a greater
17 percentage of their retail sales from renewables, was to
18 provide greater resource diversity.

19 We all know that the more we don't rely upon
20 one, single, individual source of electricity for
21 generation, it makes our system overall more resilient,
22 more cost effective in the long run. And I think that
23 benefit of the RPS still exists today. I really do see
24 renewables, over time, as an insurance policy for
25 protecting the electricity system against situations

1 that we can't control, or we can't predict, necessarily.
2 And I can talk about that a little bit later.

3 Also, economic development. I know that
4 everybody throws out different jobs numbers, so I'm not
5 going to quote one. But I think it's an indisputable
6 fact that we have seen a lot really exciting economic
7 development in the State, because of the RPS over time.

8 I was just looking through the CEC's table, in
9 their tracking progress section, and it's amazing.
10 There's this table, I think it's actually Table 1, that
11 shows that there's at least one renewable energy project
12 in every single county in the State. And for most of
13 them, it's a lot more than that. So, that's certainly a
14 benefit.

15 And then, we'll get to climate and clean air.
16 So, for me, despite the potential shift in focus at the
17 Federal level, on climate change and clean energy, the
18 science on climate change has not changed, at all. The
19 State, our country, our world is facing significant
20 uncertainties with regards to how we're going to be able
21 to maintain a lot of functions in our economy and our
22 society, given the fact that the climate is warming.

23 In California, we know that climate change means
24 that we're going to have less snow pack to rely on. So,
25 our hydro supplies, which is an important aspect of our

1 electricity sector, is going to become more uncertain
2 over time.

3 We also know that there's going to be an
4 increased risk of significant forest fires, that has not
5 only huge threats to people's homes, our economy, air
6 quality, but also the ability of us to be able to
7 utilize our transmission lines and keep our power plants
8 online. So, I just thought that was worth saying. That
9 even though it may seem as though California is moving
10 in a different direction than some of the policies that
11 we may see at the Federal level, I think that makes our
12 job all the more important. That we're actually moving
13 in the direction to ensure us against the risks of
14 climate change going forward and that early action, I
15 think, will pay off over time.

16 So, this is a slide from 2008. The point here
17 is just that the RPS policy in California has
18 historically played a really important role in the
19 State's world class greenhouse gas emission policies,
20 and our efforts to reduce carbon across the economy.

21 And, largely, the program has been a significant
22 success. So, here, this is from the 2008 ARB AB32
23 Scoping Plan. You can see that the 33 percent by 2020
24 RPS was intended to account for about 15 percent of the
25 emission reductions throughout the economy.

1 And I guess I want to say that the POUs have
2 been a large role in procuring additional, new sources
3 of renewables, has been a very important part of the
4 success of the RPS over time.

5 So, in 2012, I took a look at the ten largest
6 POUs in the State to understand what they've done on
7 renewables so far, and where they're headed. And I was
8 really, happily, surprised, actually, to find that those
9 POUs, collectively, had had a greater impact on getting
10 more renewable projects built in California, as a result
11 of RPS compliance, than the three IOU counterparts. So,
12 that's just to say that leadership on this issue has
13 been very, very important, and I hope it continues.

14 This is a slide, just to make my point about the
15 system wide insurance policy that I think renewables
16 provide over time, if we can plan for them. So, what
17 you see here is the orange line. This is the natural
18 gas usage. The dotted red line is other imports.

19 I should say, this data came from the Energy
20 Commission. So, other imports, I think some of that
21 actually does include out-of-state renewables, but it's
22 not parsed out. So, just keep that in mind.

23 My point here is that you can see that between
24 2011 and 2012 we saw a significant drop in both our
25 nuclear generation, obviously, because of the unexpected

1 loss of San Onofre, as well as large hydro. And large
2 hydro continued to decline because of California's
3 historic drought.

4 Although we did see a pretty big spike in
5 natural gas generation, in 2012, that was because we
6 weren't planning for SONGS to go offline. And over
7 time, the renewable energy generation has steadily
8 increased. The usage of natural gas has not had to
9 continue to be a much higher rate over time.

10 So, as long as we can plan for renewables, we
11 can help make sure that in situations that we can't
12 control, like a drought, we can continue to rely on
13 clean energy and our emissions will not increase.

14 This is a graph, this is from the ARB, in 2016.
15 This is from the draft scoping plan. It just shows that
16 overall, our GHG intensity of electricity in California
17 has declined over time. And that has been, in, large
18 part, because of the RPS program to date.

19 So, I think we all know that we are facing
20 fairly aggressive greenhouse gas reduction targets in
21 California. This graph, also from the ARB, just shows
22 us where we needed to be in 2020. We're on track to do
23 that. And where we need to be in 2030 and, ultimately,
24 in 2050, if we're going to reach the Governor's
25 Executive Order. That's a very significant decline.

1 And even though the ARB, who's working on the
2 scoping plan, has not yet finalized a plan for how we're
3 going to get there, they have some drafts out there. I
4 think E3's going to talk about this. We pretty much
5 know that we're going to have to be relying on at least
6 50 percent of our electricity supply needs to come from
7 renewables, if we're going to get there.

8 And the other, just quick point, I want to make
9 about this is that the electricity sector, in general,
10 is going to have a larger role to play in reducing our
11 emissions throughout our economy, and that's going to
12 bring additional benefits. So, we know that the RPS
13 program, and other renewable energy programs, have
14 helped to make sure that the existing electricity we
15 use, more and more of it comes from clean sources.

16 In the future, we're also hoping that we're
17 going to be able to take gasoline-powered cars off the
18 road, which are significant sources of carbon pollution,
19 as well as criteria air pollutants, which have
20 significant public health impacts. And, instead,
21 electrify those vehicles. And, obviously, to be the
22 maximum benefit of that fuel switch, and that policy, we
23 need those vehicles to be powered by clean electricity,
24 as well.

25 So, let me just stop there. I'll let E3 talk

1 more about the details of what 50 plus looks like. And,
2 again, I look forward to hearing from the POUs and
3 starting a discussion about how we get there. Thanks.

4 MS. SMITH: Okay, great. Thanks, Laura.

5 I'd like to welcome Nick Schlag, from E3.

6 MR. SCHLAG: Okay. Thanks, Laura. That was a
7 really interesting presentation on kind of where we've
8 been. The work that I have to share today is a little
9 bit more about where we're going with renewables.

10 So, again, my name's Nick Schlag. I'm a
11 Consultant with E3. Just a quick introduction, E3's
12 been responsible for a number of studies in the past
13 five or so years, exploring renewable integration at
14 much higher penetration of renewables, than we see on
15 our system today. We've looked at 50 percent, even
16 above 50 percent renewables, to explore what are the
17 implications for how a system operates, and the
18 challenges that you might face in operations. As well
19 as how does it change your planning paradigm, as a
20 utility, to know that you're going to be having to
21 integrate such large penetrations of variable resources
22 on the system.

23 So, I think Courtney invited me, today, to maybe
24 share some of the lessons that we've learned in the
25 course of our modeling experience over the past couple

1 years, looking into these questions.

2 So, Laura also showed a slide that looked like
3 this. But I just wanted to start with the big picture,
4 and the long term. We won't really get into the details
5 of what this slide is showing. But the key here is to
6 recognize that if we are going to hit our long-term,
7 2050 goals, we've got a very steep path ahead of us. No
8 matter how you slice it, it's going to require a
9 transformational effort of the economy and,
10 specifically, of the electric industry, in order to meet
11 the current 2030 goals, as well as the long-term, 2050
12 goals.

13 And, definitely, one of the most radical
14 transformations that we can expect to see is within the
15 electric industry. It's the necessity to de-carbonize
16 electricity in order to provide a clean and carbon free
17 supply of electricity to meet not only your traditional
18 electric sector demands, but also increasing levels of
19 demand related to vehicle electrification, and
20 potentially electrification of other end uses.

21 I know this is probably a bit tough to see from
22 so far away but, really, the key things to take a look
23 at on this slide are the blue and the yellow wedges.
24 Which represent, basically, the installed penetrations
25 of solar and wind over the time period from the present

1 day through 2050, in order to meet, once again, those
2 long-term GHG reduction needs.

3 2050, it probably feels like a little bit of a
4 long time in the future, still. But, really, 2030 is
5 now just around the corner, when you think about it in
6 the context of the lifetime of the investments of new
7 power plants that we're going to be making today.

8 And even by 2030, as Laura alluded to as well,
9 the current RPS target is 50 percent. But in order to
10 meet the 2030 goals, we're actually looking at
11 potentially needing to go above and beyond 50 percent
12 renewables. Up to, potentially, 60 percent, maybe even
13 a little bit in excess of that, in order to meet the
14 2030 goals that the ARB has been looking into, recently.

15 So, what I wanted to touch on today is,
16 basically, what does a 50 percent RPS penetration look
17 like for California? What should we be thinking about
18 as far as the challenges that we'll be facing in
19 integrating such large quantities of renewables? And
20 how can we start to think about planning a grid so that
21 it's resilient enough, and flexible enough, to
22 accommodate such high penetrations of renewables?

23 I think it's important to start by recognizing
24 that this is a new challenge. There are a couple other
25 countries out there that are really beginning to push

1 the envelope on renewable penetrations. A number of
2 European countries have, close to 30 percent renewables,
3 with large penetrations of wind and solar. But, 50
4 percent is just an entirely another challenge. It's a
5 level that hasn't really been achieved anywhere in the
6 world. And, so, this is really path breaking work.
7 We're really breaking new ground to explore what this
8 grid is going to look like in the next 15 years.

9 So, maybe I'll start with the good news. Which
10 is that, renewable generation is cheap and has been
11 getting cheaper, and continues to get cheaper. When we
12 look at, basically, what the costs of renewable
13 technologies have been doing over the past couple years,
14 they've been coming down pretty considerably.

15 Solar PV is probably the poster child for this.
16 When I started working on, renewable integration six or
17 seven years ago, it seemed like solar PV was in excess
18 of \$200 a megawatt hour. Now, we commonly see contracts
19 signed for \$50, or even below that, in the markets
20 today. So, this is kind of the encouraging side of
21 things. That the market transformation, that we hoped
22 to see in renewables, is in fact happening. And we have
23 been able to drive down the market prices of renewables
24 through some of our aggressive procurement of these
25 technologies.

1 It's also comforting to see, or just striking to
2 note, that renewables are now cost competitive with
3 traditional generation sources, even in today's low gas
4 price environment.

5 So, the cost of building new solar and new wind
6 facilities, if you don't necessarily consider the cost
7 of having to back those up, is actually comparable to
8 the cost of building new, traditional gas resources.
9 Which has kind of been a benchmark that people have been
10 watching for quite a while.

11 So, how is California actually going to meet
12 these aggressive, 50 percent renewable targets? What
13 types of resources do we have available to us?

14 By our calculations, it's going to take
15 somewhere on the order of 15,000 megawatts of new,
16 renewable resources, above what we have today, to meet
17 our 2030 goals. And you can imagine that actually being
18 larger, if we're continuing to proceed up to 60 percent.

19 When we've looked at the renewable potential
20 that's out there, within the State of California, we
21 found a couple pretty striking things. First is that
22 the potential of resources, like geothermal, and wind,
23 looks like it's actually fairly limited.

24 There are a couple places in the State where
25 there are high quality wind and geothermal resources

1 left, that can be developed. But when you compare these
2 to the need for new renewables that we're facing over
3 this long-term time horizon, they're actually fairly
4 small quantities.

5 Solar, on the other hand, is sort of boundless
6 in its potential. The costs for solar have come down so
7 much that, it almost makes sense that you could put a
8 solar panel anywhere in the State and have a reasonably
9 sort of economic project to develop, from the
10 perspective of renewables.

11 So, in our minds, a lot of the development is
12 sort of pointing towards this world in which solar plays
13 a very sort of central role in the achievement of our
14 policy goals.

15 COMMISSIONER HOCHSCHILD: Can I just make sure
16 I'm understanding this? When you say we need another 15
17 gigs of renewables to meet the RPS, is that --
18 obviously, the number of gigawatts depends on which
19 technology assumption you're making. Are you assuming
20 principally solar and wind for this? Or, what's the
21 breakdown of this 15 gigs between technologies?

22 MR. SCHLAG: Yeah, it is principally solar and
23 wind making up that 15 gigawatts. So, if you were to
24 say we'll meet it all with geothermal, if you could find
25 a geothermal resource, that gigawatt number would be

1 considerably smaller because of the higher CAP factor
2 that you have for geothermal resources.

3 CAP factors for solar and wind, that we've seen
4 in the State, are pretty comparable, on the order of 30
5 percent, plus or minus, a few percentage points. So,
6 the mix that you assume for that doesn't have a huge
7 impact on how this number shakes out.

8 COMMISSIONER HOCHSCHILD: Great. Thank you.

9 MR. SCHLAG: So, as we look towards a world in
10 which we're basically relying, predominantly, on solar
11 PV resources to meet our higher renewable goals, there
12 are essentially a few challenges that we can imagine in
13 terms of how we're going to balance the grid, and
14 operate the grid flexibly enough to accommodate such
15 high penetrations of solar.

16 You can think of the traditional challenges that
17 people think of, when they allude to high penetrations
18 of renewables. You've got variability and intermittency
19 within the hour. So, you need to carry more reserves in
20 order to balance the sort of sub-hourly variability that
21 you expect from those resources.

22 But, really, the largest and principal challenge
23 that we expect to see is related to the fact that in
24 these high penetration worlds you have periods, or
25 times, where you just have so much energy that you can't

1 actually squeeze it onto the grid.

2 And this is what's illustrated in this series of
3 graphics here. Where you can see kind of from 33, to
4 40, to 50 percent, from top to bottom. That red, sort
5 of hump that's growing over time is, essentially, the
6 solar PV in the middle of the day, that we're not
7 actually able to squeeze onto the system just because we
8 don't have enough demand to fit it all onto the system.

9 So, this is really where things start to get
10 tough as far as renewable integration. Because you can
11 image that, if we're looking at that 50 percent world,
12 if we want to keep building renewables on top of that,
13 you're going to be building renewables on top of periods
14 where you're already having to curtail some of your
15 supply. And it becomes just sort of more and more of a
16 challenge to squeeze everything onto the grid.

17 I'm going to skip this slide and then go
18 straight to what can be done to sort of facilitate these
19 integration challenges. I'll start by saying that the
20 picture that we showed just a minute ago, it's not a
21 static world and there are things that can be done to
22 alleviate some of the challenges that we illustrated
23 with that solar-heavy example. There are many steps
24 that can be taken, both institutionally, and on the
25 investment side, to mitigate the challenges of operating

1 a grid at 50 percent.

2 We've listed out a couple here. The interesting
3 thing to note here is that the solutions, or the
4 investments that are most valuable, from the perspective
5 of renewable integration at high penetrations, are not
6 the sort of traditional types of flexibility that you
7 think of, when you think of operating a power system.
8 It's not your fast start CTs, that you can ramp really
9 quickly.

10 It's actually things that you can do that allow
11 you to shift energy around from one period of the day to
12 another. Whether it be through changes in demand, and
13 when demand actually occurs, or through taking energy
14 and actually moving it to another period of the day,
15 using a technology like energy storage.

16 So, this sets up a touch challenge, basically.
17 You've got many, many moving pieces. As Courtney
18 alluded to, this is kind of -- it's a multi-dimensional
19 problem, with many pieces. All of which are kind of
20 playing off of one another and interacting, and, at face
21 value it's really hard to think about how to balance all
22 of these different steps that you might take to
23 facilitate renewable integration, and to sort of plan
24 your portfolio as you move through time.

25 What I wanted to sort of end with is a little

1 bit of an overview of how we've been thinking about this
2 planning challenge in the future. And, of course, there
3 are many more dimensions to this planning problem, than
4 we're illustrating here. But I think this is kind of a
5 useful representation, at least at a simplistic level,
6 of how you can begin to think about balancing sort of
7 your renewable integration challenges with the
8 investment and solutions to help mitigate those
9 challenges.

10 So, what you're seeing here is kind of three
11 possible models for the future of the grid. On the far
12 left, what you see is a grid that has essentially no
13 investment in solutions for renewable integration. And
14 in that world, curtailment, it becomes a very big
15 problem. We basically have an oversupply of renewable
16 resources. And in order to continue to meet, our
17 investments and our goals of 50 percent or higher, you
18 essentially have to over build your renewable fleet, so
19 that it's capable of producing even more energy than you
20 need to hit 50 percent RPS.

21 Those investments in the overbuilding the
22 renewable fleet end up being pretty expensive because
23 you're buying energy or you're paying for energy that
24 could serve loads as renewables, but can't be delivered
25 to the grid.

1 On the far right is another model for the
2 electric system. This is a world in which you build
3 energy storage up to the point where you can absorb all
4 of the surplus energy that you might ever see on the
5 system, and deliver that in other periods.

6 And you can imagine that also being very
7 expensive. To basically make investments in energy
8 storage so that every single megawatt hours of
9 renewables that you could deliver to the grid, actually
10 is delivered.

11 So, what we have in between is kind of the sweet
12 plan, that's the plan in question, and what the plan in
13 question seeks to identify. It's a world in which,
14 basically, the integration challenges that you face in
15 operations, and the costs of those challenges are
16 actually balanced with the costs of new investments, and
17 demand side programs. You have some curtailment. You
18 have some storage. You have some electric vehicles.
19 You have some of a little bit of everything. This gets
20 to Laura's point about diversity. And that balance
21 point kind of takes all of these potential solutions and
22 finds the least cost possible combination of them.

23 So, that, in and of itself, is a really tough
24 question. This is, again, a multidimensional sort of
25 optimization problem, with very complicated interactive

1 effects between technologies.

2 This model that has existed in the past, of sort
3 of siloed procurement, where you can look at each sort
4 of individual area of procurement and kind of make a
5 decision about that, independently, is going to begin to
6 kind of disappear as we begin to have to bring these
7 things together in an integrated resource planning
8 framework.

9 What we've been doing, recently, at E3, is
10 developing a linear programming model that's capable of
11 this type of optimization. And we've been using this to
12 look forward and think about what do -- what 2030
13 portfolios actually make sense as far as hitting our 50
14 percent, or higher, renewable goals.

15 So, this is my last slide to share with you
16 guys. And just a few key takeaway points, summarizing
17 what we've gone over today. The first is that achieving
18 our goals is going to require large investments. It's
19 going to require lots of new renewables, and it's going
20 to be transformational for the electricity system.

21 The second is that we're looking forward to a
22 grid that's going to be considerably different in how it
23 operates. Those differences are going to impose new
24 challenges on utilities within those grids, and it's
25 going to require sort of careful thinking and planning

1 to sort of resolve some of those challenges.

2 But I guess the point that I'll leave you with,
3 and this is kind of a takeaway from the modeling, is
4 that it's definitely possible to achieve those high
5 penetrations, particularly if you're beginning to
6 consider the balance between all of the sort of
7 integration solutions available to you as options to
8 help facilitate the balancing of such high penetrations
9 of intermittent renewables.

10 The last slide that I have, I won't go through
11 this, is just for when this is posted, these are a few
12 links to some of the key studies that we've done over
13 the past couple years, that kind of relate to the
14 presentation that I just went through.

15 So, thank you very much.

16 COMMISSIONER HOCHSCHILD: Thank you. That was
17 terrific.

18 MS. SMITH: Great. Thanks, Nick.

19 So, we are now going to transition to our
20 presentations by POUs, themselves. To kick that off,
21 we're going to actually have a joint presentation by the
22 POU representative organization. So, if you guys want
23 to come and sit up here?

24 So, we have Justin Wynne from the California
25 Municipal Utility Association, Tanya DeRivi, Southern

1 California Public Power Authority, and Scott Tomashefsky
2 from Northern California Power Agency.

3 MR. TOMASHEFSKY: Thank you, Courtney. I hope
4 you like our slide we have here. We're going to talk a
5 little bit more today, than give you slides.

6 Definitely want to thank you all for the
7 opportunity to speak this afternoon. And, actually, as
8 kind of a plug for your staff, I will say through all of
9 the RPS deployment, dealing with regulations past,
10 present and future, the staff has been great to work
11 with in terms of just dealing with a lot of the nuances
12 of what public power's all about. Especially, when you
13 consider there's 40 plus of us, depending on how you add
14 us up. We all do have our operational issues. And
15 having staff understand what we do is really important.
16 And we try to reemphasize it every time we're here. So,
17 I just wanted to throw that plug out there for the
18 staff.

19 To that end, it's actually kind of interesting.
20 The State talks about collaboration and takes a lot of
21 pride in the fact that the agencies are collaborating.
22 I will say that we do that quite a bit, as well. Which,
23 kind of in an ironic sense, we have a weekly
24 coordination meeting that we have among CMUA, SCPPA,
25 NCPA, TID. SMUD's part of that and Modesto's part of

1 that, as well. And we actually have to reschedule that
2 because that's scheduled for that right now, I guess it
3 would be, right at 2:30.

4 So, just to kind of give you some context.
5 There's a lot of stuff that goes on within our
6 organizations, and to really get a grasp on, and stay in
7 front of all these topic areas, it's really important
8 for us to talk amongst ourselves. So, we do quite a bit
9 of planning associated with that.

10 And I will say, the IRP discussions, not just
11 this one, but the previous two, we've had quite a bit of
12 conversation about that. So, coming here as a joint
13 presentation is really important, and I think that that
14 shouldn't be understated, at all, in terms of
15 importance.

16 I know that this workshop is characterized as an
17 IRP workshop. But I really would look at that as being
18 a little bit too constraining. In the sense of I like
19 Courtney's comments in terms of her depiction of what
20 the IRP process is. I wouldn't say that we really
21 disagree with that approach, in terms of it's designed
22 to try to find out how we deal with planning.

23 I will say, and I'll say it again, we have been
24 planning irrespective of an IRP mandate, and SB 350.
25 That's something we all do in various forms. They may

1 not be called IRPs, but they are something we do.

2 This really gives us an opportunity to talk
3 about renewables from our lens, and provide some context
4 there. So, my punchline, if there's any here, is that
5 we do have good stories to tell. I think our position,
6 in terms of where we are vis-à-vis 2020, is not a bad
7 story to tell. I will say, and you will hear that in
8 the next 15, 20 minutes, that there are challenges about
9 2030. That's not to suggest that we are not an active
10 partner in trying to help the State reach its
11 objectives.

12 And I will say that it needs to be reemphasized
13 that our role, as a stakeholder, is very different. We
14 are very unique in that sense. Not only by our
15 definition, in terms of our demographics, the
16 environment that we live in, our each, individual
17 communities, and the climate zones that we're in. We
18 cover all 16 climate zones in various ways. We have
19 different economic considerations. We have very poor
20 communities. We have very, fairly wealthy ones. The
21 community desires are very different.

22 And with all of that, not only does not one
23 roadmap work for another, but we have to kind of make
24 those decisions at the local level.

25 And to that end, we really are public stewards.

1 So, when we talk about the dollars that we spend in our
2 local communities, we kind of look at it from a full
3 city perspective. But then, what's equally important,
4 is that we take the statewide objectives and find ways
5 to filter that into the decisions that we make at the
6 local level. So, when we do those things, we're making
7 decisions based on being stewards of the public. No
8 different than the State is. But we're actually doing
9 that at the most local level. So, we have the same
10 objectives when it comes down to those types of
11 relationships.

12 Accountability is a big part of that. We're
13 just sort of thinking along the lines of the boards, the
14 advisory boards that serve our communities, the
15 stakeholder groups that we have. We can -- you know,
16 this is a rough estimate. There's probably in excess of
17 70, 75 public meetings that occur each month, within the
18 public power community, in various cities that are out
19 there. So, in terms of transparency, I don't think you
20 can get more transparent than that. It may not come to
21 certain elements within, you know, certain websites or
22 whatnot, but the information is out there and the
23 communities are engaged, or they have the opportunity to
24 engage, when they want. So, we understand how those
25 communities fit together. It's really important.

1 I will say, also, the decisions that we make are
2 incorporating energy and non-energy decisions in
3 everything we do. So, that actually gives us the
4 opportunity to be even more optimal in terms of the
5 things we do.

6 We do share those common goals, which is really,
7 really important. And I think that gets lost a lot of
8 times in the policy debates, because the conversation
9 usually starts from the stand point of what are you guys
10 not doing, and why aren't you doing it? Whereas,
11 opposed to, how are you trying to help us meet our
12 objectives? And I think there's a real nuance between
13 that.

14 I will guarantee, though, that the solution that
15 comes up, in terms of the one-size-fits-all construct,
16 is not going to happen. So, straight lines never happen
17 when you look at the public power community. It's
18 certainly not going to happen as the utility gets
19 smaller and smaller. So, we have a lot of fun doing the
20 things we do and we're happy to be part of the
21 conversation.

22 From an IRP perspective, again, reemphasizing
23 what Courtney sort of said, I'll paraphrase it, that
24 it's really a planning tool. It's not the end all
25 solution for getting to 2030. It is the road to 2030.

1 What we shared in the first couple of workshops,
2 especially in the first one, we basically had, I think,
3 13 of our 16 utilities provide a fairly extensive
4 presentation, each one of them to talk about the things
5 that they are doing. And there is a lot going on. And,
6 again, it's not necessarily that they're called IRPs,
7 but it is resource planning in every step of the way.

8 Guidelines from the Commissions perspective, I
9 think those are very helpful for us to have. I think
10 that they provide an opportunity to provide some
11 insights and best practices, and how things can be
12 looked at moving forward. But I'd be really careful
13 about making them too constraining.

14 That's one of our major, I think, concerns as
15 we've gone through this third IRP discussion, that's
16 out there, seems to be a suggestion that the IRP has to
17 be designed in a certain way. Templates will be
18 designed and then, this is what we are going to do.

19 And I will say that once we get into that type
20 of mode, it becomes less, potentially, the case that we
21 can be creative in the way we do our resource plan. So,
22 guidelines are great. Prescriptive guidelines are not
23 quite as great as guidelines, in the purer sense.

24 The main thing for us, really, is about
25 flexibility, program flexibility. You see it built into

1 the RPS program, the way the regulations are fit today.
2 We spent a lot of time between, I can't even remember,
3 it was 2009, '10, '11 and '12 in that period talking
4 about flexible compliance, and ultimate compliance
5 options.

6 The Commission's probably going to see a number
7 of those compliance requests come up, in compliance
8 period one, as the review of the first compliance period
9 moves forward.

10 I would imagine, I'll speculate at this point,
11 you'll probably find less claims for alternate
12 compliance, in compliance period two, as we all get used
13 to the program. Although, going forward, as the numbers
14 start to get higher in terms of percentages, those
15 alternate compliance tools become very important.

16 Because I think we've talked about,
17 individually, that our mutual objective is to make sure
18 that we're all successful. And we want to make sure
19 that the rules don't constrain us from being successful.
20 And I think that's a fair goal.

21 One other thing to note on the IRPs is that the
22 fundamental requirements in the RPS program don't
23 change, other than the IRP. From resource planning, we
24 have to look at how we're dealing with the 50 percent
25 renewable, but we also have to look at a lot of

1 different features, as well.

2 So, it just becomes really important to continue
3 to stress how important flexibility really is to our
4 programs, and to the extent that those are built into
5 the requirements, whether they're guidelines that give
6 us flexibility to think about things, or whether there's
7 alternate compliance options that give us the ability to
8 think about how to deal with the formal compliance of
9 what we have to do, those are important to continue.

10 In terms of challenges, and I know, Tanya's
11 going to expand on that more so, but I'm just going to
12 touch on a few and then I'm going to make reference to a
13 couple of nuances related to our three NCPA members that
14 are not presented, specifically. So, not Palo Alto, but
15 more from a Roseville, Redding, Santa Clara perspective.

16 In terms of challenges, I think the greatest
17 challenge in terms of dealing with the RPS program, and
18 everything else, is looking at these policies and making
19 sure that they're aligned. And what we find ourselves,
20 on the road to 2030, is that this conversation is
21 actually an easier conversation for us to have at this
22 point because a lot of the focus right now is dealing
23 with carbon implementation post-2020, dealing with the
24 scoping plan, Cap and Trade regulations. How we deal
25 with protecting consumer interests going forward.

1 Looking at the cost implications of what's part of the
2 next step.

3 And as Laura noted, there is a lot of work we're
4 going to have to do to get to 2030, and we all recognize
5 that. But we still have that public stewardship aspect
6 of what we do, and, so, we will never go into that
7 conversation without asking the question, how is that
8 going to impact consumers?

9 Now, there's a financial aspect. There's an
10 environmental side of that. But we have to think about
11 all components of that conversation.

12 For us, specifically, we're looking at things
13 like allowance value, associated with free allowances we
14 get within the Cap and Trade program, which often feeds
15 into a lot of the renewable procurement that a lot of
16 our members do. It provides that additional revenue
17 source to allow us to make those contributions and
18 actually move up the curve a little bit more. So, it's
19 all tied together. And we often have a tendency to kind
20 of think about those in silos, which is problematic.

21 Second to that is, really, looking at the --
22 more of kind of a compliance operational stand point, is
23 the synchronizing of reports and compliance periods.
24 When you start to look at the thing, we have an IEPR
25 every two years. We have the RPS compliance period,

1 three to four years. We have greenhouse gas compliance
2 every three years. We have the IRP every five years.
3 We have annual energy efficiency. We have four-year
4 energy efficiency targets.

5 So, we're all in sort of different stages of
6 evaluation through process. And within the Utopian
7 dream sequence of things, wouldn't it be nice if we
8 could all do our planning, evaluation, recommendations,
9 and we kind of go through that. It's a long process
10 that we've talked about for a long time, and it's a very
11 difficult challenge to deal with it.

12 Along those lines, the notion of consistency and
13 the definition of consistency, as it relates to
14 implementation, as various agencies look at the things
15 that are trickling down from State mandates, and
16 directives, and programs. And we get into the question
17 of what's really consistency? Does consistency mean
18 exact or does it mean something else?

19 I would tend to characterize it as a bandwidth
20 of acceptability. And when you start to look at
21 consistency from a bandwidth you become -- it becomes
22 more possible to deal with the nuances of smaller
23 utilities, especially. But when you start to look at
24 public power, in general, there's a notion of we can be
25 within this range and that's an acceptable range. We

1 tend to try to get away from that when we get into
2 regulations because we want to have a definitive answer.

3 And, unfortunately, some of this is a little bit
4 interpretive, when it gets down to it. So, that's
5 important, looking at things like the straight line
6 increase versus the stair step approach in dealing with
7 what the RPS percentage is. We've had those
8 conversations before, and we're ready to have it again.

9 Within the long-term procurement world, dealing
10 with soft targets, dealing with count and fold
11 resources, how we deal with excess procurement. Again,
12 a lot of alternate compliance options and flexibility
13 have been built into the program. We don't want to see
14 those things go away.

15 To the extent that you get to a 60 percent
16 renewable conversation, which is a little bit scary in
17 the sense that that's happening before we're even
18 getting on a track to 50 percent, flexibility becomes
19 really, really important in trying to deal with those
20 type of things.

21 One other thing that I'll also give
22 consideration to is looking at the definition of a
23 California eligible resource. So, when we start to look
24 at it from the grand scope of carbon, there's a lot of
25 things within the renewables program that are good for

1 carbon, not necessarily considered to be good for the
2 California eligible aspect of the RPS program.

3 We know we have, oh, about 5,000 megawatts,
4 plus, now of rooftop solar that don't count. The
5 questions become, well, what is the State's objective in
6 terms of are we looking to promote rooftop solar in the
7 future? And, if that's the case, then there's probably
8 opportunities for it to be appropriately acknowledged
9 into the RPS program. It's a tough task, because
10 there's things related to the accounting for it. But
11 it's something that needs to be considered.

12 To the extent that it's 7 or 8 percent of the
13 State's renewable portfolio today, even though it's not
14 California eligible, it's still significant.

15 COMMISSIONER HOCHSCHILD: I would just clarify.
16 I mean, they count in the denominator, but they reduce
17 the denominator of the -- so, it's 50 percent of a
18 smaller number, right, because there's --

19 MR. TOMASHEFSKY: That's right.

20 COMMISSIONER HOCHSCHILD: -- consumption. But
21 it's not fully counted. Your point's well taken.

22 MR. TOMASHEFSKY: Yeah, and I think along those
23 lines it raises an even higher policy question on is our
24 objective reducing reliance on the grid, or is it
25 reducing reliance on the use of energy? It's just that

1 that's a much different question that pairs the energy
2 efficiency and the RPS world against each other. But
3 these are important things to really kind of think
4 about. So, trying to figure out how that all fits into
5 the policy equation is really important.

6 A couple other challenges and I'll kind of feed
7 that into my discussions with Roseville, Redding, and
8 Santa Clara. And, of course, those are three of NCPA's
9 15 members. Santa Clara is our largest member, about, a
10 little over 500 megawatts on peak. They are definitely
11 part of the early adopters. If you look at the NCPA'S
12 family, a geothermal project in 1983. It makes us
13 officially early adopters in terms of renewables. And
14 it's been sort of a benchmark for a lot of the renewable
15 work that many of our smaller members are actually a
16 part of, and they rely on that.

17 Interesting challenge. We do get into the
18 conversation of load going down in the State. The Air
19 Resources Board, in looking at allowance allocation, has
20 kind of concluded, roughly, that all utility loads are
21 going down. Well, that's not the case for all, Santa
22 Clara being one of them. And, actually, they find their
23 loads going up. So, it does create some additional
24 nuances for them to deal with, in terms of additional
25 load growth. They'll have some other opportunities and

1 challenges to deal with there.

2 They have looked at storage. They're still
3 evaluating how that's going to fit. That will also be
4 part of the reports that come to the Commission, in
5 early 2017, on the state of storage within the POU
6 community. I know, within the last one there were
7 concerns that there were a lot of utilities that were
8 not looking at that, which I thought was a little bit of
9 a mischaracterization. It wasn't that they were looking
10 at it, they were just looking at the cost effectiveness
11 of it.

12 And a lot of public power members are not early
13 adopters, and they're kind of second adopters. So, to
14 the extent that those technologies are moving forward,
15 and costs come down, they certainly take advantage of
16 that.

17 Uncertainty surrounding electrification. In
18 Santa Clara, you've got 160 EV charging stations right
19 now, 49 at the stadium.

20 You've also had the issue of what's the
21 appropriate focus of electrification. And you start to
22 look at it, is it looking at it from a residential
23 public charging? Are you looking at from a
24 commercial/industrial?

25 From their perspective, they are looking at it,

1 in the short term, as the dot.com companies are building
2 -- they're developing infrastructure so that people go
3 to work, they can charge up when they go home.

4 You've got other communities and it's very
5 different. You get into that situation, as the
6 technologies and the distances change with respect to
7 some of the electric vehicles that are out there, that
8 may change the dynamics. Now, you start to get into
9 looking at distribution infrastructure and the costs
10 associated with that. So, there's a couple things that
11 are kind of interesting there.

12 From the perspective of Roseville, you've got
13 one of the highest PV penetration rates in the county,
14 in terms of the public power community. They've got
15 five percent customer solar penetration. Which is not
16 to be confused with the 5 percent threshold on net
17 metering. But, you know, they're sort of somewhat
18 related. But they're exploring community solar. So,
19 how does community solar fit into the equation? How is
20 that going to be treated in terms of comparisons to
21 rooftop solar, and that kind of the -- you know, how
22 it's being addressed?

23 They're also looking at the storage options.
24 And they've been involved in partnering with potential
25 DOE studies that are out there, where they're looking to

1 be part of that conversation.

2 What they are doing right now, similar to Santa
3 Clara, who's in the middle of theirs, as they are about
4 to start with AMI deployment. So, as the distribution
5 system gets more complicated, they see the need, now,
6 from a cost perspective, to have AMI installed.
7 Whereas, maybe a few years ago they did not, now, as
8 things get closer to the distribution level, this
9 becomes more of an issue, and more of a need for certain
10 utilities. It may not be for all. But for certain
11 utilities, they're making those decisions, even though
12 those were local decisions that were made.

13 One final point, from a Redding perspective,
14 which is really, probably, one of the more interesting
15 challenges. As we push forward with storage, they've
16 actually come across a situation where storage is now
17 becoming less of a cost effective option for them.

18 So, here's our one member that's really been
19 gung ho in terms of i-Spare technology, dealing with
20 thermal energy storage. Several years ago they actually
21 had some of the assembling plants situated in the City
22 of Redding, from a jobs perspective. Well, they've gone
23 down to Glendale. And, so, the jobs aspect of it has
24 gone away.

25 But also, the over-gen situation has created

1 different pricing nuances, where shifting load to chill
2 at night is now not as cost effective.

3 And, so, the story line of evaluating storage,
4 and looking how it fits into the renewable equation, the
5 last thing we want to come back with and say, well, we
6 used to do it. We thought it was good. Now, it's a
7 problem. We need to make sure that those stories are
8 understood because those are realistic perspectives on
9 where things are going. And as much as it may be
10 against the grain in terms of where the State would like
11 to take the storage equation, it is a representative
12 analysis of how things are going.

13 So, it's a different conversation that we need
14 to have. It does make sense, in terms of how it fits
15 into integrating renewables, from that stand point. But
16 when you start to get down to the granular level of how
17 a utility will use storage, it may not be that straight
18 forward.

19 With that, I'll end my comments and I'll turn it
20 over to --

21 COMMISSIONER HOCHSCHILD: Yeah, if I could just
22 ask -- thank you, Scott. And, by the way, I see you had
23 all these acronyms up there. We should give a door
24 prize to whoever comes up with the best Scrabble word
25 you can make out of all of these --

1 MR. TOMASHEFSKY: I think we got 47 points.

2 COMMISSIONER HOCHSCHILD: -- CMUA, SCPA, NCPA.

3 Not a lot of vowels to work with but --

4 (Laughter)

5 COMMISSIONER HOCHSCHILD: I just want to ask,
6 and just going back to Nick's presentation, from E3,
7 among the many pieces of news, over these last years, I
8 think the cost reduction in wind and solar is really the
9 most significant story of renewables. And, we're
10 entering, now, the last month of President Obama's term
11 in office. And just since he assumed office, just eight
12 years ago, the price of solar has gone down almost 90
13 percent, and wind's gone down just over 60 percent.

14 And, we were fortunate to get these tax credits,
15 both for wind and solar, extended with the commenced
16 construction clause, which is, I think, really
17 important. So, if you just initiate the project, you
18 can still have a few years after the tax credit expires
19 to make use of that.

20 I am just curious, when you out ahead at which
21 renewable resources you expect to procure, do you expect
22 principally solar and wind pattern, or are you looking
23 at biomass, geothermal? I mean, how does that look,
24 must generally speaking, for POUs, from your
25 perspective?

1 MR. TOMASHEFSKY: Yeah, and I'll let Tanya and
2 Justin comment on that, as well. But I think it's
3 really all part of -- it's that, the proverbial, all-of-
4 the-above strategy on things. And to the extent that
5 the most cost effective solution is tied to solar and
6 wind, then that's a place that we definitively are going
7 to look at.

8 So, it has to be looked at from a pragmatic
9 stand point. And it also has to be looked at
10 operationally. And, so, contractually, if you're
11 engaging in a solar contract, as long as you've got a
12 guaranteed deliver, it really shouldn't matter what that
13 resource is. It becomes a least cost decision.

14 And, so, you start to look at the public
15 stewardship of dollars. And I'm sure Jim will talk
16 about that, within the Palo Alto presentation. There's
17 a lot of really good solar projects that they've
18 negotiated, as part of their portfolio, starting next
19 year. And, so, why wouldn't we go after those things,
20 if they're cost competitive?

21 COMMISSIONER HOCHSCHILD: One thing -- first of
22 all, I just want to welcome my colleague, Commissioner
23 Douglas, to the stage.

24 We are actually, speaking of renewables, one
25 additional resource that we're now looking at is

1 offshore wind. So, both Commissioner Douglas and I just
2 visited the first offshore wind project, installed in
3 the nation, which is off the coast of Rhode Island. it
4 was just completed last month.

5 And, now, the cost of that project was quite
6 high, about 24 cents a kilowatt hour. But they're down
7 in Europe, now, to 6 cents a kilowatt hour. And,
8 actually, the generation profile of that is considerably
9 better than onshore wind. So, it's approaching 50
10 percent capacity factor, whereas onshore is about 35
11 percent.

12 Commissioner Douglas and I are participating in
13 this regular, new, taskforce that's been set up with a
14 number of the agencies working on that. And the first
15 application for a lease has now been filed off the coast
16 of Morro Bay, right.

17 So, anyway, you are done with your presentation?

18 MR. TOMASHEFSKY: Yeah.

19 COMMISSIONER HOCHSCHILD: Do you want to pass it
20 to Justin or to Tanya?

21 MR. TOMASHEFSKY: To Tanya.

22 COMMISSIONER HOCHSCHILD: Yes, thank you.

23 MS. DERIVI: Thank you very much. I'm Tanya
24 DeRivi, Director of Government Affairs with the Southern
25 California Public Power Authority, or SCPA.

1 I first wanted to thank the Commission for
2 asking the question on what the obstacles are that POUs
3 are facing in both developing, and integrating, a 50
4 percent RPS. I'll let some of our members directly
5 address some of the integration challenges.

6 And, also, appreciate E3's presentation, earlier
7 this afternoon, on what the State, overall, is facing as
8 well.

9 So, I have several key points I wanted to go
10 through on the challenges from. But also wanted to
11 reiterate that our local public power utilities very
12 much see ourselves as being a State partner in trying to
13 reach the climate change goals of California. That's
14 not to say that we aren't going to be faced with some
15 challenges in doing so, through 2030.

16 One of the challenges we found ourselves facing,
17 particularly over these last few years, is how to
18 navigate what can sometimes be inconsistent and even,
19 sometimes, contradictory policies under the climate
20 change umbrella for California.

21 We're dealing with a lot of different policies
22 amongst the four lead, State regulatory agencies. There
23 are about 40 major proceedings going on at this time,
24 right now, which we are collectively all trying to stay
25 on top of, and meaningfully contribute to, as well. And

1 that's in addition to Federal requirements, and our own
2 local requirements by our city councils and mayors.

3 One recommendation we would have, would be to
4 have better and more meaningful coordination amongst the
5 State agencies, in order to better align the climate
6 change policies.

7 This could, potentially, include cross-education
8 amongst the State regulatory staff. For example, ARB
9 staff having a better understanding of fundamental
10 issues associated with Renewable Portfolio Standard
11 program, I think would be extremely helpful. In
12 addition to CEC staff, for both the ARB Cap and Trade
13 program, and the mandatory reporting rule, which our
14 POU's are also subjected to.

15 And then, also, CAISO, as far as the operational
16 challenges and market-related issues, as we move forward
17 to 2030, would be pretty helpful, I think, for us.

18 We've also recommended earlier this year, we
19 meaning NCPA and SCPA, had recommended earlier that
20 there be a task force created amongst the State
21 regulatory agencies, that could also solicit input from
22 stakeholders, to help align some of these policies under
23 the umbrella of meeting the SB 32 and SB 350 goals, with
24 climate change and renewables.

25 We can see, certainly, an important role for CEC

1 in helping to address some of these inconsistencies. A
2 few of which I'll just throw out there.

3 One is greater evaluation of the interactions
4 between the Cap and Trade program and the RPS program,
5 with the goal of aligning those two. Since those
6 interactions can directly impact overall costs for both
7 of the programs.

8 Right now, we're facing situations where it's
9 cheaper for us to actually turn of renewables in the
10 State of California, rather than paying someone to take
11 it off of our hands. And even if we would try to sell
12 to out-of-state marketers, we probably wouldn't be
13 getting emissions credit, which Chairman Weisenmiller
14 had noted in a Commission meeting a few months ago, as
15 well. That's probably a problem that we would like to
16 see addressed, both in the lead of the State regulatory
17 agencies.

18 Another issue that we have found is the recent
19 release of ARB's 2030 discussion draft, of its scoping
20 plan. There's multiple references throughout that
21 scoping plan that the State should preserve and protect
22 natural and working lands from development, intensive
23 development. Which, in our minds, could mean no
24 renewables in some key areas of the State.

25 They also reference protecting offshore lands.

1 That's another issue. When we talk about offshore wind,
2 particularly given the different geography of the outer
3 Continental Shelf on the western coast, as opposed to
4 the eastern coast, which could make it more difficult to
5 build offshore wind here, off of California.

6 It also seems to contradict today's Interior
7 announcement of the memorandum of understanding signed
8 between the Obama Administration's Interior Department,
9 and California, about trying to streamline and build
10 renewables, both onshore and offshore here, for
11 California, to help meet our climate goals.

12 Another concern that was raised in the scoping
13 plan was working through local planning processes to
14 help preserve open and natural working lands. One key
15 example we have, down in Southern California, that
16 raised a key concern for us, about a year and a half
17 ago, was the further expansion of local ordinances that
18 outright the development of renewable projects in the
19 State of California.

20 Today, actually, the Los Angeles County Board of
21 Supervisors, Item No. 58 on their agenda, is approval of
22 the final ordinance that bans renewable development of
23 large scale solar and wind in Los Angeles County close
24 to load centers, that serve most of our members here, at
25 SCPPA.

1 That was a big problem. We had testified before
2 the L.A. County Board of Supervisors. Please don't do
3 that. It doesn't help us trying to reach California's
4 climate change goals. But we were severely outnumbered
5 by a number of local residents who said that they did
6 not want to suffer the scourge of large solar. And that
7 solar belonged in urban cities which, of course, most
8 people know, we don't usually get credit, under
9 California's Renewable Portfolio Standards, for rooftop
10 solar in California.

11 It also -- if that had happened -- that did
12 happen -- just trying to reach California's 25 percent
13 renewables target, it doesn't really bode well for
14 trying to get to 50 percent renewables target, and
15 trying to build renewable projects in the State of
16 California.

17 It also doesn't bode well if we already have
18 limits on the PCC2, out-of-state renewables, when the
19 ARB has proposed to eliminate the compliance credit
20 under the Cap and Trade program, which we've been
21 fighting for about 14 months, now. Please don't do that
22 because it would only drive up the costs of out-of-state
23 renewables, which also doesn't lead well to
24 regionalization.

25 Other issues that are facing is trying to figure

1 out, or at least slow down, how to do a GHG accounting
2 mechanism that could be incorporated into the 2016 Cap
3 and Trade program amendments. That could potentially
4 also double, even triple the compliance costs for public
5 power utilities. Particularly, those operating in the
6 CAISO EIM, or looking to join that. It would be
7 something problematic towards reaching California's
8 climate change goals.

9 And, of course, there's the issue of trying to
10 build transmission to bring renewables out of state,
11 especially when some local communities would like to see
12 those high voltage transmission lines undergrounded,
13 which would make building them uneconomical.

14 The second major impact, of course, is customer
15 rate impacts. Anyone who's ever been through a local,
16 publicly owned utility ratemaking process, we hear loud
17 and clear from a number of people, both our customers,
18 our mayors, our city councilmembers, or commissioners,
19 ratepayer advocates, and everyone else, with extreme
20 scrutiny on multi-year processes to get rate increases
21 through to help pay for, not just renewables, but
22 everything else.

23 Some of our members, in particular, are already
24 fully resourced in providing power to our customers.
25 And it will take a significant amount of time to exit

1 long-term commitments that were made, particularly in
2 our case, for out-of-state coal. For example, SCPA had
3 negotiated an early divestiture of the San Juan coal-
4 fired power plant. It took three years, and one of my
5 colleagues traveling back and forth to Albuquerque
6 almost every single week, for three years, to negotiate
7 an early divestiture of the San Juan coal-fired power
8 plant.

9 Coal is now, therefore, running mostly at
10 minimal capacity, but we are still required to pay the
11 long-term costs associated with those long-term
12 contracts.

13 There's a hugely unique issue, both for SCPA
14 and mostly the Northern California members. Our assets,
15 and I'm going to say assets, not liabilities, associated
16 with Federal hydropower contracts. This is something
17 unique to public power utilities that can be even more
18 complicated than that. Since it does work to help solve
19 the 2030 challenge of meeting California's climate
20 change goals, but also doesn't count towards California
21 Renewables Portfolio Standard.

22 One key example we will have is the iconic,
23 Hoover Dam, for SCPA members. This is the only, of our
24 almost 40 projects, now, that is all in by all 12 of our
25 members, as one of the -- all have participant shares in

1 the Hoover Dam hydro power project.

2 In order to retain that project, it requires an
3 Act of Congress. And having moved to Washington, D.C.,
4 in 2005, with the sole purposes of getting a bill
5 through not one Congress, but it took two Congresses to
6 get an Act of Congress, a once percent chance of
7 approval, to the President's desk, and signed into law
8 so that we could retain long-term Federal hydropower
9 contracts, which are emissions free, and also extremely
10 affordable, for 50 years. Beginning in 2017, for all 12
11 of our members.

12 We also have long-term stakes in the Palo Verdes
13 Nuclear Power Plant, which is also emissions free,
14 for -- I think we have a 12 percent stake amongst our
15 SCPPA members, in that project.

16 Another concern is the future price of renewable
17 energy and what will happen in the market. If, indeed,
18 renewable projects do become more expensive, either
19 driven because of SB 350, or because of what might
20 happen with Congress and Federal tax investments, that
21 could lead to even higher electricity rates that would
22 impact businesses and jobs here, in California.

23 One example, I will point to, is that the last
24 two days of the California State legislative session,
25 this year, was a biomass procurement mandate that was

1 flipped into SB 859. The deal that spent nearly a
2 billion dollars in climate change funds. That power we
3 were looking at procuring is well over \$125 a megawatt
4 hour. Significantly more expensive than solar and wind.
5 Far removed from the utilities in Southern California.
6 And, really, no viable way to transmit it down to our
7 customers.

8 So, we're going to be spending an exorbitant
9 amount of money for renewable power that don't actually
10 get delivered to our customers, for some of the largest
11 POUs. So, carve outs like that only drive up the cost
12 of renewables.

13 Third, recognize that POUs fund projects with
14 municipally-backed financing. Something also very
15 unique to public power. This creates special
16 constraints and rules that we are required to follow.
17 It exposes us to stranded costs, as in the case with our
18 coal-fired power plants, that we are seeking to get out
19 of early, and also has direct and adverse impacts on
20 electric rates. Which can also, potentially, impact the
21 general funds for local governments in the State of
22 California.

23 And private use limitation on tax-exempt finance
24 resources are imposed and enforced by the Internal
25 Revenue Service. And these constraints are limited to

1 only 10 percent of the overall portfolio that we are
2 required to meet.

3 And fourth is challenges with meeting State and
4 Federal reliability requirements. Because we are
5 required, fundamentally, to keep the lights on. This
6 also includes future, flexible resource adequacy
7 capacity requirements, and the fundamental need and
8 consideration on how to address the famous duck curve,
9 which we are all struggling to deal with on different
10 operational planes for both peak and off peak hours.

11 Appreciative E3 having already mentioned the
12 over-generation issue for renewables and, also, the need
13 to address fast ramping, dispatchable resources in order
14 to meet load and keep the lights on during that critical
15 evening period.

16 Also, having increasing discussions on
17 challenges, as we go towards 50 percent renewables, on
18 system inertia issues. What happens when you start
19 taking huge generators of the system, that the grid was
20 built around, and then start replacing them with
21 intermittent renewable resources scattered, pretty much,
22 all the way across the west, for us.

23 So, there is certainly future uncertainty on
24 what will happen on the renewable supply, and how that
25 impacts the grid, that also needs to be addressed.

1 Retail load unpredictability. This is an issue
2 that can spread across any number of issues, including
3 distributed generation, transportation electrification,
4 and what is going to happen, post-2020 or even post-
5 2030, to the retail load for each of the POUs.
6 Especially, when we are looking at entering into the
7 multi-decade commitments to build upon our renewable
8 resource portfolio, while also still having under
9 contract other resources, like the Hoover Dams, that go
10 for 50 years. That's something that also needs to be
11 evaluated, as these long-term contracts expire or we
12 enter into those.

13 Finally, I can't not say that there is the ever
14 important Federal factor in all of this. There's a new
15 President taking office at noon, on January 20th, so
16 that can't be ignored. And what that impacts for both
17 FERC, the Federal land management agencies for all of us
18 out in the west, EPA, Department of Energy, all of which
19 have extremely important roles to play in that.

20 One major concern that we have, well, we have a
21 lot of major, a lot of concerns. But one major concern
22 is what a Republican-controlled Congress and a
23 Republican White House can do in terms of comprehensive
24 tax reform. I think I've said it a number of times,
25 already, that we do rely on municipally-backed financing

1 to pay for all these projects.

2 There's already, on the table, ways to either
3 minimize, eliminate, somehow change municipal financing.
4 Which we hope the State of California will vigorously
5 defend the ability to pay for these projects using
6 municipally-backed financing.

7 Any sort of detriment to that tax-exempt
8 financing status would significantly drive up the costs
9 for doing, not just renewable projects, but everything
10 else that publicly-owned power utilities do. This issue
11 doesn't look especially promising. If you look ahead to
12 the 2018, midterm elections, that could very easily see
13 a 60-vote Senate Republican majority that could pass
14 through significant tax reform in two years' time, in
15 the final two years of President Elect Trump's years in
16 office.

17 That not only, then, impacts climate change
18 policies, the EPA Clean Power Plan, and everything else
19 beyond that, but also judicial appointments. So, that
20 will be another major concern as we look forward to
21 trying to reach a 50 percent renewables.

22 That's all I have.

23 COMMISSIONER HOCHSCHILD: Well, thank you for
24 that comprehensive overview. Just before we move on,
25 Commissioner Douglas, did you have any comments you

1 would add, particularly around the renewable siting,
2 since you've worked so much on that?

3 COMMISSIONER DOUGLAS: I think this is a more
4 general comment, or maybe it's not so general. First of
5 all, I'm glad to be able to join you. Sometimes, we
6 find ourselves in our own boxes here, at the Energy
7 Commission, as much as we try to stay abreast of all of
8 the issues around us. And, so, I'm really pleased to be
9 able to be here.

10 And, of course, I've been involved in a lot of
11 siting issues, and was involved, as were a number of us,
12 on the MOU that was signed today. And I'm really
13 pleased with it, as a really strong sign of the State's
14 commitment to move forward, in partnership with Federal
15 agencies. And that partnership has been really
16 essentially in helping us coordinate on planning, and
17 make these things come to fruition. We'll do our part
18 to make these projects come to fruition on the ground.

19 As an aside, I'm sorry I couldn't join at 1:00,
20 so I came in the middle of this presentation. I missed
21 yours. But in any case, I did want to remark that I do
22 recognize the challenges out there, and I want to be
23 sensitive to them. At the same time, I think it's
24 important to avoid overstatements of them, and to really
25 look for how do we overcome these challenges, as well as

1 just listing them.

2 I mean, in particular, I'm very familiar with
3 the L.A. County ordinance. It does ban large wind. It
4 does not ban large solar, unless there's been a dramatic
5 amendment that I'm not aware of.

6 So, I think it's really important to stick to
7 the, very accurate descriptions of what the challenges
8 and opportunities are that we face going forward. But I
9 say that with an open mind, that I do recognize that
10 it's a world that has a lot of moving pieces that you
11 all need to navigate. And I think all of us, at the
12 Commission, are very interested in hearing from you, and
13 very interested in trying to better understand what we
14 can do to make your jobs easier, not harder, as you move
15 forward. So, I think that's all I'd like to say at this
16 point, but thanks.

17 COMMISSIONER HOCHSCHILD: Thank you.

18 Justin.

19 MR. WYNNE: Thank you. Good afternoon, my
20 name's Justin Wynne, and I'm here on behalf of the
21 California Municipal Utilities Association.

22 And, so, just one point that Scott mentioned
23 earlier, that I just wanted to reemphasize. It's that
24 even though we're talking about the 16 largest POUs,
25 they're still an incredibly diverse group. If you just

1 look at the size difference, from the largest of the 16
2 to the smallest, the largest, they're annual retail
3 sales are 35 times greater than the smallest. If you
4 look at the number of customers, the largest has over
5 860,000 customer accounts, whereas 10 of the other POU's
6 have less than 80,000 customer counts. Some of them
7 have a very small number of customer accounts.

8 They're spread out across five different
9 balancing authorities, all different regions of the
10 State, rural, urban. And they have different customer
11 makeup. A different customer class makes it very
12 dramatically different between the 16.

13 And I think one of the most important things is
14 that when you look at the economics, some of these 16
15 serve areas of the State with some of the highest
16 unemployment, and highest poverty rates. Others are
17 serving areas with very strong, growing economies. And,
18 so, all of those differences mean that the customer
19 bases that they're serving have very different values.
20 They have different goals for what their utilities
21 should be doing.

22 I think we recognize that in the IRP process,
23 the POU's and their governing boards need to adopt an IRP
24 that meets the statutory requirements, but that these
25 utilities need to do it in a way that is consistent with

1 what their local community's values and desires are.

2 So, I think I was given the more positive
3 message, of the three. Which, I think looking at the
4 POU's as a whole, in the aggregate, and particularly the
5 largest POU's, they are on track to meet the near term
6 RPS goals. So, particularly, the second and third
7 compliance period, they're well on the way to doing
8 that.

9 And I would say, in trying to figure out where
10 the POU's are today, and where they'll be at in the near
11 future, one caution I would have is in looking at some
12 of the publicly available data, I think we need to be
13 cautious not to draw too many conclusions from that.

14 I think a good example is the power content
15 label. It adds very specific and useful information,
16 but it doesn't do a very good job of conveying whether
17 that utility is in compliance with the RPS for that
18 year.

19 Similarly, the data you're pulling from the S2
20 forms, that's giving you real information and, also,
21 projected information about resource mix and load. But
22 the RPS is a very complicated program. There's a lot of
23 specific rules that mean that if you're just looking at
24 an annual resource, versus load mix, that might not be
25 telling you the whole picture of whether that utility's

1 in compliance with the RPS. And there's a lot of
2 examples of this.

3 One is the historic carryover provision. So, a
4 number of POUs were able to take excess generation from
5 the pre-2011 period, and they're able to use that in the
6 post-2011 period.

7 And the similar in structure to the excess
8 procurement, which allows carryover between compliance
9 periods.

10 There's also the fact that these are multi-year
11 compliance periods. So, a POU, for a variety of
12 reasons, could dip down in one year and be up in the
13 next year. And, so, in one particular year they may
14 look like they're out of sync with meeting their goals
15 whereas, for the entire compliance period they would
16 still be on track to meet that.

17 It's also the fact that RECs have a 36-month
18 shelf life, so you could procure RECs in one compliance,
19 wait and then retire them in a subsequent compliance
20 period.

21 And then, there's also the fact that bucket
22 three RECs wouldn't necessarily show up in a resource
23 mix. But in the first compliance period you had 25
24 percent, and then 15 percent in the second compliance
25 period, and so that's another area where it's not

1 necessarily going to show up in like S2 data.

2 And then, finally, some POUs have very specific
3 carve outs, for good reasons. I think a good example
4 would be San Francisco. If you look at their RPS
5 percentage, I think it's only 6 percent, or something
6 like that, but they're almost 100 percent hydro. And,
7 so, they're a zero GHG-emitting utility. But if you
8 were just to try and factor in their RPS element, it
9 might give you a different picture. And, especially, if
10 you're factoring that in with other utilities, it could
11 skew where the POUs are at, even though they're fully
12 compliant with the RPS.

13 So, I also think it's important, if you're
14 looking at where the POUs are, and where they're going,
15 to put some context around the first compliance period.
16 The POUs were moving from a voluntary RPS, where they
17 had designed their own rules, and the structure for how
18 they were complying with this. And even though a number
19 of them were complying, were procuring a significant
20 amount of renewables, the RPS program, put in place by
21 SB2X, had a whole different set of structures. They
22 were the bucket requirements and the interim targets.

23 And, so, moving from the prior voluntary program
24 to the mandatory program had some -- there were some
25 growing pains involved in that.

1 There was also the fact that how this played
2 out, legislatively, we had the bill to -- it wasn't --
3 the actual bill, that succeeded, wasn't adopted into
4 well into 2011. And then, the CEC was in the difficult
5 position -- I believe the actual statute said that the
6 CEC had to adopt its regulations by July 1st 2011, when
7 the bill wasn't effective until January 1st, 2012.

8 And, so, it was deep into 2013, the final year
9 of the compliance period, before we actually had a set
10 of regulations. And there were significant things that
11 were still up in the air until the end of that process.

12 And, so, I think that it's important that the
13 first compliance period was a transitional period. And
14 I think that look at where the POUs will be in the
15 second compliance period will give a much better picture
16 of where we'll be moving forward.

17 So, with all the caveats around the S2 data, and
18 I'm not an expert in this, but just my rough review of
19 the most recently filed S2 information, if you look at
20 the 10 largest POUs, and you're looking at their
21 percentage of renewables as a resource mix, compared to
22 the data that's in there, there's a clear trend line
23 moving up, as you move forward. And I believe that the
24 10 largest are roughly at 29 percent, by 2019. And
25 given that that's not taking into consideration all the

1 RPS factors of, bucket three, any excess procurement,
2 and that puts them well on track to meet the compliance
3 period three targets.

4 I think a lot of the challenges, that Tanya and
5 Scott have discussed, are things that have taken place
6 after that. And, so, I think that's where it becomes
7 much more difficult in the post 2020 period. But on the
8 near term, I think as a whole, in the aggregate, the
9 POUs are well on their way to meeting the RPS targets.

10 There was -- one of the questions was things
11 that the CEC could do to help with this. And, so, I
12 think some of the other utilities, that talk later, will
13 bring up some things. And, so, we'd sort of asked for
14 some input. And I think we'll provide much more
15 detailed responses and comments.

16 But some of the initial responses we got, I
17 think the focus was on that the CEC could be a source of
18 data that could help solve some of the problems. Some
19 of the initial suggestions were about projected carbon
20 cost scenarios through 2030. Projected ISO renewable
21 integration costs, looking at different technologies.
22 Assumptions and data around the GHG emission factor for
23 ISO system power.

24 And then, also, and I know that this has been
25 discussed, that there's publicly available data around

1 cost information, and performance metrics for different
2 renewable types, that could be publicly posted by the
3 CEC. That would also help, as well.

4 But like I said, we're get a lot more detailed
5 on that when we actually file comments on this.

6 COMMISSIONER HOCHSCHILD: Great. Thank you,
7 Justin.

8 One other thing I would just add to the mix. My
9 staff and I, this morning, met for an hour with the head
10 of our R&D Division, Laurie ten Hope. We're now
11 planning the next, triennial investment plan. And
12 that's \$150 million a year for this suite of clean
13 energy, storage, efficiency, technologies. And if
14 anyone, over the course of the rest of this afternoon,
15 has specific ideas on where research money could be best
16 deployed -- I mean, we've already put money into
17 offshore wind, into energy storage, into grid
18 integration. But particular research needs, that's very
19 timely right now.

20 So, well, let me thank all of you. Courtney,
21 all yours.

22 MS. SMITH: Great. Okay, now we are going to
23 transition to hearing directly from the POUs,
24 themselves. So, I'd like to introduce and invite up
25 Scott Harding, from Imperial Irrigation District.

1 MR. HARDING: Scott Harding, with Imperial
2 Irrigation District. I just want to start off by saying
3 thank you very much for the opportunity for IID to come,
4 before you, and talk about where we're at, where we
5 think we're going to be, and some of the challenges in
6 meeting the State goals, both currently and post-2020,
7 under SB 350.

8 Also, just to start off, I'd like to echo the
9 message that the previous group has brought to us.
10 Particularly, I want to especially thank SCPPA and CMUA.
11 They've represented IID on a number of fronts, in such a
12 great manner. And we really appreciate that, especially
13 when it comes to interactions with CEC and State
14 agencies.

15 I want to talk, briefly, about kind of our
16 overall objectives in our current IRP, and how we think
17 that will be adjusted under SB 350. And I also want to
18 talk about our development process and some of the key
19 drivers, again, that we think that will be driving us
20 now, and also after SB 350 takes into effect.

21 And then, I'd like to address, specifically,
22 some of the questions that you guys had for the
23 utilities. I have a couple of slides on that. And I
24 also want to provide a current status update and some of
25 the next steps that we anticipate at IID.

1 So, just want to provide just a brief overview
2 of what some of our objectives are in our IRP.
3 Essentially, we have a number of different functions at
4 IID, just as any other POU has. Each of those functions
5 has different activities that they're involved with and
6 different things that they have to comply with.

7 So, the goal of the IRP is to integrate all of
8 those things together and move forward in the most
9 optimal direction.

10 One thing that I do want to highlight, and one
11 of the main reasons why IID is here, is that we are a
12 balancing authority. So, balancing authorities have
13 different requirements than other POUs, that don't.
14 And, so, some of the activities that we have to do, as a
15 BA, may be different and apply differently when
16 complying with the various laws that are in the State,
17 just because we're a BA and we have some overlap of
18 Federal, and regional activities, and commissions, and
19 so forth, and State commissions. So, that's something
20 that I do want to make sure is a distinction with IID,
21 compared to other POUs. And I'll kind of touch on that
22 a little bit later on, in the presentation.

23 And by the way, just go ahead and interrupt me
24 if you have any questions, happy to answer anything.

25 Our development process is to kind of gather key

1 assumptions and input from the various stakeholders,
2 both internally and externally, at IID. IID is a
3 balancing authority in Southern California that covers
4 Imperial County. Which, as you probably all know, is a
5 very high unemployment areas, between 25 and 30 percent,
6 depending on the year. And, so, it's very important for
7 IID to consider the situation with the economy.

8 And we think that RPS objectives help the local
9 economy and we think that IID has a lot of abilities to
10 help other POU's in meeting those objectives, as well,
11 from our local area.

12 And then, we identify strategic alternatives and
13 scenarios, and then we assimilate and study, and then
14 present the final findings. This, we think, is a very
15 complex process. As was mentioned before, by a couple
16 of the other presentations, it's multi-layered. There's
17 a lot of moving parts that are constantly changing,
18 which make it difficult to make a plan, and then stick
19 with a plan. And then, once you have a plan, find out
20 that things are changing, so that we have to change our
21 entire activities or one element of the activity that
22 changes the entire activity. So, it's a very complex,
23 multi-layered process.

24 And we think that it's important for us to have
25 a very concise process, so that we can at least, at the

1 very least, stick to a plan to the best of our ability,
2 while things change.

3 A couple of key drivers that we have in our IRP
4 process that we, again, see now, and also under SB 350.
5 One of them, again, that's very critical to us, is
6 preserving our BA and making sure that we're maintaining
7 system reliability as a BA.

8 And, of course, meet the environmental and
9 regulatory responsibility, and even exceed it, where
10 possible, and cost effective. And, also, we want to
11 provide competitive rates.

12 The idea of this particular slide is to
13 emphasize that each of those different drivers overlap
14 with each other, and each of them are very important to
15 the extent, almost to the extent that they are equally
16 important.

17 But in the center of all those drivers is
18 meeting our customer needs. So, we have our ratepayers
19 which, in the end, own us. And, so, we want to meet
20 their needs. So, linking the State requirements and
21 customer needs is a difficult challenge that is an
22 important focus for us, in our IRP process.

23 I want to talk a little bit about some of the
24 questions that you guys had for us. We're expecting to
25 be well above the 33 percent, 2020 target. We're very

1 proud of that. We've met all the targets to this point.

2 And we're happy to announce that.

3 And I want to just kind of briefly show a
4 graphical representation, here, of where we expect to be
5 by 2020 and beyond. This particular graph is using all
6 the renewable resources that we have approved, and
7 contracted. And anything under that red line is being
8 used to meet the goal.

9 In our particular case, however, because we're a
10 BA, most of our -- in fact, all of our resources to this
11 point have been portfolio content category one. And,
12 so, in order to sustain ourselves as a BA, and preserve
13 that BA, there are some definite challenges when you
14 compare an annual requirement to the requirements we
15 have as a BA on a monthly, daily, hourly, and intra-
16 hourly basis.

17 So, in reality, this particular graph just shows
18 what the State annual requirements allow us to do in
19 terms of carrying forward, or not retiring, RECs until
20 they're needed. And, so, 2020, for example, is when a
21 resource comes online, where we'll have a lot more
22 generation, than what is shown on this graph here, for
23 renewable resources. We actually expect to be more like
24 40 percent for the year. For the year, itself. But
25 thanks to current guidelines, we're allowed to push

1 those forward and roll them forward.

2 Another breakdown I'd like to show is the
3 breakdown of all resource types. So, we have a good
4 diversity mix of geothermal, biomass, solar, and small
5 hydro. We expect to meet the 50 percent requirements
6 with a continued diverse mix. And, so, I wanted to show
7 that to you.

8 Going back to some of the major obstacles
9 integrating to a 50 percent portfolio, we will meet that
10 target, just to let you know. However, we do want to
11 echo some of the challenges that some of the other folks
12 have mentioned, already. That there are obstacles.
13 there are challenges. First and foremost is cost and
14 some of the risks involved in operations. There's a
15 number of activities that are affected by resources that
16 are not controllable. And, so, there's a risk to that.
17 There's risks in terms of reliability. There's risks in
18 terms of cost. There's risks even in terms of
19 regulatory requirements that may be overlapping from the
20 Federal and State levels, as a BA.

21 Another challenge is integration as a BA. Since
22 we're a BA, folks look to sync to our system. And, so,
23 we have to balance that with quick-responding generation
24 within the hour, intra-hour and within the hour.

25 Also, one of the things that I do want to

1 highlight is the difference between 50 percent today and
2 50 percent in 2030. There is a very distinct difference
3 in perception. It's kind of like money, if you will,
4 something that's worth -- the dollar is worth something,
5 now, and may be worth something different later.

6 In this particular case, our 50 percent
7 perception, today, would represent 1,700,000 megawatt
8 hours in 2020. Whereas, in 2030, because of low growth
9 and other things happening, that's actually a couple
10 hundred thousand more.

11 So, one of the things that we do want to
12 emphasize is that if you have growth, which we think
13 that a lot of other programs are promoting growth, if
14 you have growth, then you also have to account for
15 higher amounts of renewables in that growth. So, that's
16 a challenge for us.

17 And then, in terms of process and timing, how
18 will targets be administered? Emission targets and RPS,
19 and the relationship between the two? I think, so far,
20 a lot of folks have already mentioned that the minimum
21 of 50 percent RPS will be needed and required to meet
22 the emissions requirements. And even, furthermore,
23 depending on what those emission targets are.

24 And then, determining the best mix, that may
25 change as conditions change. And all these obstacles

1 kind of all are tied together in some way or another. I
2 do want to emphasize that. And the best way to
3 emphasize that is about the forecast.

4 So, we can look at a straight line graph all day
5 long and say here's what we need to do, but there's a
6 lot of things that can happen that can alter that.
7 There's a graph that I want to show here, looking at the
8 similar graph that we just looked at a few minutes ago
9 but, rather, what happens when our load grows at a
10 faster rate? And maybe we have higher production that
11 what is expected, which is not within our control. It's
12 a very minimal amount of control of how much is
13 produced, or how little.

14 And then the other, orange line, that you see at
15 the bottom part of the graph, is what if load grows
16 faster than expected? Or what if -- and also combined
17 with production levels being excessive.

18 And, so, you can see the distance between the
19 orange line and the blue line, in meeting that 50
20 percent, it's several hundred thousand megawatt hours of
21 difference. So that, as you can imagine, has a major
22 cost impact. And, especially, when it comes to the IRP,
23 it has a major impact on our planning process and how we
24 need to meet those different goals and address the risk
25 of forecast error.

1 And another thing I want to emphasize is the
2 fact that when it comes to production, when you can't
3 control the extraction of the fuel source you,
4 essentially, have very little control over the resource
5 of that is another -- that's a part of this particular
6 illustration here, in that many of the resources that we
7 have already signed, or that we will sign, have very
8 little control in terms of being able to plan around the
9 production of that resource. So, that's a major
10 challenge for us. And that all can affect our abilities
11 as a BA, our abilities to provide competitive rates, and
12 some of the other aspects that are involved, as well.

13 Talking about the role of energy storage and
14 meeting the 50 percent goal. Where flexibility is
15 absent, we think that quick response is absolutely
16 critical. Again, where you can't control the fuel
17 source extraction, you have very little flexibility.
18 And, so, when you're talking about lights turning on,
19 and especially in Imperial County, the air conditioning
20 is turning on and off, those are things where quick
21 response is absolutely critical.

22 The degree of the role will depend on pricing,
23 comparative alternatives at the time of the decision.
24 So, again, if we decide something today for 2025,
25 there's a lot of things that can happen between now and

1 2025. A lot of things that can change, that can make
2 that decision today good or bad. So, that's something
3 that we think has an effect on what happens with energy
4 storage. We do think it can help integrate less stable
5 resources.

6 And one note that we do want to make, and again
7 emphasizing that the aspect of being a BA is that using
8 common assumptions I think can be difficult to apply in
9 the same manner for many different types of utilities.

10 And then, specifically in IID's case, we just
11 recently installed, as of September/October, a 20-
12 megawatt, 33 MVA, battery storage project, which we're
13 very happy to have online. We already see its impact.
14 But we still need to study things a little bit more in
15 depth to really see its physical abilities to do things
16 that we're hoping it will do. And we do think it's a
17 very good resource to help us shave some of the impacts
18 of intermittent resource integration, and help control
19 our area control air.

20 Information from the CEC. We think that to
21 address that question that you guys had, we think that
22 close coordination is absolutely critical. I do want to
23 point out that the coordination that we've had over the
24 last couple of years, with the staff here, at the CEC,
25 has been very good, very helpful. And Emily Chisholm's

1 group, and Courtney's group, and a number of different,
2 other staffers that have just been really patient with
3 us, explaining some of the things to us. And, also,
4 just helpful overall. And we think that is absolutely
5 critical to continue in the future in order to meet the
6 50 percent in a way that helps us with our goals.

7 Also, one thing that I do want to mention is
8 that I think it's if you're looking at the CEC
9 guideline, as somebody who has a reason to look at it,
10 it's fairly easy to understand. But if you're somebody
11 who is in the public and you hear just a generic comment
12 about meeting the 50 percent, they just automatically
13 think 50 percent is what it is. But, in reality, the
14 guidebook does have a lot of other abilities for you to
15 meet that 50 percent. But the public perception is not
16 really aware of that.

17 And, so, we think that having clear pictures of
18 compliance mechanisms is something that could be helpful
19 in that process. It's both something that is a
20 challenge to IID, to our public, and to our upper
21 management, even, but also it's something that could be
22 helpful from the CEC, as well.

23 In terms of DRs, we think it's important to
24 evaluate each resource carefully. And, in terms of how
25 those interact with the control of our system and the

1 customer side of the meter. Public programs that help
2 us understand the customer side of the meter will help
3 prevent the loss of reliability control. And that's,
4 again, as a BA that's extremely critical to us. When
5 you lose that control, on both the IID side of the meter
6 and the customer side of the meter, that just makes
7 outages more probable.

8 Smart metering and smart grid. We've already
9 started looking at how that can be implemented into our
10 system. We think that's extremely important. Again,
11 when we're talking about both sides of the meter. And
12 then, we've already started some system upgrades. As of
13 now, we have some others planned, as well, to address
14 those types of programs.

15 We actually have a draft of our current IRP, but
16 it uses assumptions that we are just assuming. And we
17 know that the guidelines under SB 350, to be released in
18 mid-2017, will give us more specifics, and some of the
19 guidelines as to how the metrics will work. And we
20 think that that's important in order to create a good
21 IRP, after the guidelines are released.

22 We will begin development of the next IRP as
23 soon as those guidelines are released, and we'll kind of
24 use the current IRP as a good starting point. We think
25 we have some good studies that will apply to the next

1 IRP, or at least be a good starting point, or provide
2 good methodology and approach to the next IRP studies.

3 And then, what we are already seeking to gain
4 input and help, where necessary, in terms of both
5 internal work and work to our stakeholders.

6 Again, thank you for the opportunity. Happy to
7 answer any questions, but that's all I have for today.

8 COMMISSIONER HOCHSCHILD: Thank you.

9 MR. HARDING: Thank you.

10 MS. SMITH: Okay, great. Thanks Scott.

11 Next, I want to invite up James Barner, from
12 LADWP.

13 MR. BARNER: Good afternoon, Commissioners.
14 Thank you for having me here, today.

15 This is the seventh IRP I've been involved with.
16 We started in 2010. we have a public outreach process
17 every other year in our IRP process. This year, we just
18 completed an extensive public outreach effort.

19 And I wanted to give you some of our draft
20 results of our IRP. These are very, very new. They're
21 draft recommendations at this point, but -- and you're
22 some of the first to see this outside of our own
23 management.

24 So, where are we today and where are we going in
25 the future? Right now, we're about 37 percent coal. We

1 just completed the sale of Navajo, so that will be
2 reduced by about a third in next year's power content
3 label.

4 In the future, we'll be going to the 50 percent,
5 meeting the SB 350 goal. And our natural gas percentage
6 will be higher but, ultimately, our goal is to have the
7 natural gas percentage be lower or lower than it is
8 today.

9 To give you a little background, our city
10 council just had a motion for us to study and develop
11 research partnerships to determine what investments
12 would be necessary to get up to 100 percent RPS. So, in
13 light of that, I'll show you some of our plans going
14 forward.

15 These are our major transformation elements.
16 The top five, we've had for a number of years. The
17 Power System Reliability Program, the fifth one down, is
18 typically not part of IRPs, but it is part of our IRP.
19 That's to basically replace the existing assets in the
20 power system, the poles, transformers, cross arms, and
21 so forth, and have key performance indicators on
22 tracking the progress of that. Supporting electric
23 vehicle expansion was added in 2014.

24 Our RPS standard in 2016, or accomplishments, we
25 plan to reach 25 percent RPS in 2016. We also completed

1 the sale of Navajo, at the end of June. July 1st,
2 actually, of last year, we completed that sale. So,
3 we're out of that facility.

4 We also added another 480 megawatts of solar
5 PPAs on our system, through SCPA. We expanded our
6 Charge UP L.A. EV Program. Placed into service a number
7 of chargers and increased our budget, considerably, to
8 \$21 and a half million, through 2018. And we plan on
9 increasing that program going forward.

10 We also completed our Barren Ridge Renewable
11 Transmission Project, and added close to 2,000 megawatts
12 of additional transmission capacity there. I'll talk
13 about some of the challenges associated with that.

14 To date, we have about 1,000 megawatts of solar
15 on our system, and 200 megawatts is local solar. A
16 thousand megawatts of wind, 150 megawatts of geothermal.
17 So, we're making good progress towards SB 350.

18 The key output of the advisory process is to
19 develop the set of cases that we analyze in our
20 production cost modeling, and come out with the results,
21 that we'll show you here.

22 We had a set of 50 percent RPS cases, with low
23 and high local solar amounts, low and high storage
24 amounts, and electrification, low and high
25 electrification.

1 We also had a set of 65 percent RPS cases, with
2 low, and medium, and high local solar. High and low
3 energy storage. And high EV for all of those.

4 The reason why we came up with the 65 percent
5 RPS was to basically create a pathway towards that 100
6 percent. Since the IRP is a 20-year document, we would
7 cut it off at the 2036 time frame. And that would be,
8 basically, straight lining out from 2030, at 50 percent
9 and going forward towards that 100 percent pathway.

10 One of the key outputs from our modeling is the
11 resource adequacy. We changed our methodology pretty
12 significantly this year, where we considered all hours
13 of the 20-year period. Looked at the maximum dispatch
14 that would be required from our dispatchable generation,
15 minus the solar and wind. When you include the solar
16 component here, the net peak load shifts downwards, and
17 with wind it shifts down further. So, this is the 2017
18 look.

19 So, our peak load is typically around hour three
20 to hour five, 3:00 p.m. to 5:00 p.m. What we found in
21 our analysis is that with looking out to the future,
22 with larger amounts of solar, it pushes this net peak
23 load out even further. And we find that our peak hour
24 shifts from about hour three to five, to about 7:00 to
25 9:00 p.m., at night. This is very significant because

1 this changes the way we look at our renewable resources
2 in the future. Realizing that solar is not available at
3 that time of the day, so that's changed our outlook.

4 The output of our modeling, in our resource
5 adequacy, is shown here at the levelized cost of various
6 resources. Here, including renewables, combined-cycle
7 gas, simple-cycle gas, and the various energy storage
8 technologies.

9 The capacity factors that are output from our
10 modeling are shown here. We have the peak load
11 dependable capacity. The next column, from 3:00 to 5:00
12 p.m., that's how we used to evaluate it in the past,
13 before we considered the net peak load shift, with
14 renewables. Now, we're looking at the 7:00 to 9:00 p.m.
15 period, and you can see here that solar and wind
16 basically provides little to no dependable capacity,
17 without the additional energy storage that's necessary.

18 Here's our breakdown of our capacity and our
19 resource adequacy. So, looking at this peak hour that
20 occurs in the summertime, it just happened to occur in
21 the summertime, like before, we found we have some
22 capacity shortfall. In the future, we're not too
23 concerned about this. We monitor this. We have various
24 options at our disposal. Various distributed energy
25 resources that we can implement. Additional gas-fired

1 generation, if necessary.

2 The problem being is that with the exception of
3 geothermal, we have a very difficult time replacing that
4 capacity.

5 Here, at the 65 percent case that we analyzed,
6 we had less of a shortfall. That's because we had more
7 storage in our modeling. We increased it from 178
8 megawatts to 404 megawatts. We did have some more
9 contribution from renewable because we added some
10 additional geothermal in there.

11 Our energy mix for our breakdown, for our
12 renewables, is shown here. We have about 3,500
13 megawatts of solar on our system, shown here. The red
14 line is the SB 350 targets that are mandated. In the 65
15 percent, we have the SB 350 targets here, again. But
16 you can see that instead of leveling off over time it's
17 continuing its upward trajectory. Here, we've added
18 additional geothermal and wind in this scenario.

19 Battery-electrification forecast -- electric
20 vehicle forecast, excuse me. We used the IEPR forecast
21 that you provide us, which is very helpful. And I think
22 that's one of those areas where we look forward to your
23 expertise in that area. Our goal is to double that,
24 which is the green line. So, we've evaluated all of
25 these cases and the higher level of EV penetration, of

1 580,000 vehicles by 2030.

2 Greenhouse gas emissions output from our
3 modeling, for this is for the 50 percent case. The gray
4 line is the business as usual, no future investments in
5 clean energy resources, energy efficiency, renewables,
6 and so forth. And the red line is where our modeling
7 shows we will be in the future, with a 50 percent RPS,
8 meeting SB 350's goals.

9 The dashed line at the bottom is the 80 percent
10 below 1990 target, set by AB 32. So, you can see we're
11 above that. We'll be 40 percent below 1990 levels by at
12 least next year, or the year after that, once we've had
13 a full year pass by without Navajo in the mix.

14 With the additional electrification credit
15 given, you can see our emissions forecast is lower
16 there. That assumes that we get, basically, a four-to-
17 one ratio from CARB, for that credit, for the
18 electrification. So, we think that's very important to
19 get to those higher levels of emissions reductions.

20 The next line here is the 65 percent. You can
21 see the difference. It's pointing downwards, instead of
22 continuing to grow, as the 50 percent levels off. And
23 then, you have the electrification credit showing here,
24 with the dashed line.

25 Transmission upgrade challenges. This is a 10-

1 year project. This is a \$500 million project,
2 increasing the transmission capacity from Barren Ridge,
3 which is up above Edwards Air Force Base, there. We
4 increased that line capacity from 150 megawatts to 2,200
5 megawatts. What we found is that became fully
6 subscribed almost immediately. And, so, we basically
7 maxed out the capacity of that upper end of the line.

8 What we realized was there was basically, a
9 bottleneck at the end, below the Haskell Canyon
10 facility, that you can see the green star down at the
11 bottom. That facility, down lower, we realized we would
12 need additional upgrades to reach the 50 percent RPS.
13 So, we have started that process, after we've done the
14 power flow analysis and so forth, to upgrade those
15 lines. And that's a pretty extensive project. It won't
16 be completed until 2022. So, we're kind of at a
17 standstill with our solar projects at the moment. We
18 can't put anymore solar projects online, in that area,
19 until we complete those additional upgrades on our
20 system.

21 We started, recently, getting all of our
22 programs together, looking at a distributed energy
23 resource integration study. We realized that the IRP
24 sets a lot of targets for a lot of these programs. But,
25 and the programs, themselves, kind of develop the

1 different measures that they have within those programs.
2 But those measures, within those programs, aren't
3 necessarily tied to our overall objectives. And one of
4 those being reducing that net peak capacity on our
5 system.

6 And, so, now, we've tried to align all of our
7 project managers and planning staff towards that goal.
8 We've started a -- kicked off, just last week, an
9 integration study to look at where, on our distribution
10 system, we can have the most value on our system.

11 Energy storage plans. We have a number of
12 programs here to try out different things on the
13 generation side, transmission side, distribution side,
14 customer side, behind the meter, batteries, for
15 instance. Also, at distribution stations. And then, we
16 have a small project at our JFB. And this is part of
17 the 178 megawatts that we responded to the AB 2514.

18 So, in summary, the challenges. I tried to list
19 here some of the challenges. We have limited available
20 transmission capacity for renewable projects. In
21 addition to the Barren Ridge project, we have
22 restrictions on our Victorville/L.A. transmission
23 corridor. We have lots of transmission outside of
24 there, but it all comes into a sort of a corridor where
25 you have a maximum capacity. So, we're now having to go

1 through and upgrade that. And that will come in about
2 the same time as the Barren Ridge/South Haskell
3 upgrades, as well.

4 So, in the meantime, it would be helpful to have
5 some flexibility in the RPS category two and three, to
6 help out in that regards, so we don't need to build a
7 lot more transmission, necessarily.

8 We're concerned about the disposition of our
9 grandfathered RPS contracts. We have a lot of wind
10 projects in the Pacific Northwest that are considered
11 grandfathered. And once those contracts end, we're
12 concerned that it may not be grandfathered, or we just
13 don't know what the disposition of that will be. So,
14 we'd like to have clarification on that.

15 We're concerned about the Cap and Trade post-
16 2020 allocations. As currently proposed, they're
17 looking at 2 million metric tons, and that's even lower
18 than the AB 32 2050 target of three and a half million
19 metric tons. So, it's almost even half of that. And
20 that's in 2030. We did our own, internal analysis,
21 based on the floor price of the Cap and Trade allocation
22 prices, and came out that that would have a minimum
23 effect of \$500 million of revenue on our LADWP. So,
24 we're concerned that that will affect our efforts,
25 impact our efforts to implement more renewables in the

1 future, and clean energy programs.

2 The PV solar, and wind has very little
3 dependable capacity, so we need to start looking at
4 storage. And then, preferably, geothermal, which has
5 that capacity benefit, as well.

6 We're concerned about the -- using rates, and
7 the effectiveness that would have in the residential
8 sector. We think it's effective in the commercial
9 sector, industrial sector. But in the residential
10 sector, there's a lot of investment, and AMI metering,
11 that has high costs relative to the benefit, and it has
12 relatively short lifecycles. And we don't know what the
13 effectiveness of that is at reducing our net peak load.

14 And then, distributed generation deployment is
15 challenging, especially within a dense, urban
16 environment.

17 Opportunities. Improve coordination, and
18 flexibility, and cooperation between the agencies and
19 the POU's, recognizing our past and future investments,
20 and good faith efforts by POU's to reach the State goals.
21 Continue to recognize and grandfather RPS projects
22 beyond the original contract term.

23 CEC forecasts, and especially electrification,
24 is very helpful for the IRP planning process.

25 We'd like to have committed certification

1 process timelines, so we don't have a lot of variability
2 in how long it takes to get our projects approved for
3 certification.

4 And then, we'd like to have increased research
5 funding for new RPS technologies and long-term energy
6 storage. Since we're looking very far out in the
7 future, we'd like to see more funding for enhanced
8 geothermal systems. And then, also, production of
9 hydrogen for long-term energy storage purposes.

10 And then, promoting batteries behind the meter,
11 at the customer sites, along with net-metered PV
12 systems. We think that will have a big benefit to
13 meeting that peak load demand, net peak load demand.

14 And then, lastly, the energy storage needs being
15 based on optimization, it's very complex to optimize
16 energy storage resources. And, so, just prescribing
17 them is not -- we don't believe is the solution. They
18 have to be very carefully integrated to extract the most
19 benefits and get the right mix of technologies in place.

20 Thank you, and if you have any questions?

21 COMMISSIONER HOCHSCHILD: Thank you.

22 MS. SMITH: Because James mentioned funding for
23 geothermal, I thought I would give a small plug. The
24 Energy Commission currently has a solicitation, out on
25 the street, for \$4.7 million to support geothermal

1 resource development. The deadline for application is
2 January 20th. And it really is specifically focused
3 for both local governments, as well as private
4 businesses to apply and receiving funding for research,
5 as well as the development of geothermal resources
6 throughout the State of California.

7 So, if anyone has any questions on how to apply
8 for that opportunity, please let me know.

9 Okay, with that, we are going to transition to
10 an online presenter, Jim Stack, from Palo Alto.

11 So, Jim, we are going to unmute you.

12 MR. STACK: Great. Good afternoon. I hope you
13 can all hear me okay?

14 MS. SMITH: Yeah, we can hear you great.

15 MR. STACK: Okay.

16 MS. SMITH: So, why don't you go ahead and just
17 let us know when you'd like us to advance your slides,
18 and we can do that for you.

19 MR. STACK: Okay, thanks. And thank you for the
20 opportunity to be here or, well, to speak with you by
21 phone, about Palo Alto's renewable energy experiences.

22 Most of the POU presentations you're going to
23 hear today will probably touch on some broadly similar
24 points. But one feature about this presentation, that's
25 a little bit different, will be that Palo Alto has

1 effectively already met the State's 2030 RPS
2 requirements, as of the end of this year.

3 The next slide. So, I'll be able to talk to you
4 a little bit about what we had to do to accomplish that.
5 But I want to point out that having already achieved the
6 50 percent RPS level, that simply takes care of the
7 procurement part of the equation.

8 But looking forward, we're still going to be
9 facing a lot of the same sorts of challenges that other
10 utilities will, particularly in terms of costs. In
11 fact, we probably have even more exposure to some of
12 those challenges than other utilities.

13 So, I'll also touch on some of the roles of
14 DERs, and storage in our plans, and some other aspects
15 of our utility that are fairly unique.

16 The next slide. Palo Alto's been in the
17 electric utility business since 1900. And the City now
18 operates six utilities, with five of them being managed
19 by the Utilities Department.

20 The next slide. So, this chart shows how Palo
21 Alto's renewable energy procurement has progressed year
22 by year. We started out, at the beginning of the 21st
23 century, with just a little bit of small hydro in our
24 portfolio, from decades ago. Then, in 2004, we started
25 executing new PPAs for wind and then the ethanol gas

1 resources.

2 And then, of course, in the past few years, as
3 solar prices have fallen, we've executed six PPAs for
4 solar resources, now. And as of a week and a half ago,
5 we now have five of those resources online. So, with
6 those five resources all operating, we're projecting
7 that we're going to reach an RPS level of 60 percent for
8 2017.

9 The next slide. So, how did we reach that
10 level? As you all probably know, Palo Alto's a fairly
11 progressive community, and in 2002, at about the same
12 time that SB 1078 passed, which established the first
13 RPS requirement for IOUs, Palo Alto voluntarily
14 instituted its own RPS target. That was originally a 20
15 percent target by 2015, which was a couple of years
16 earlier in the requirement for the IOUs. And then, it
17 was later bumped up to 33 percent by 2015.

18 However, at the same time that we adopted that
19 first RPS target, we also adopted a rate impact limit,
20 or a cost limitation limit. We agreed not to exceed a
21 certain rate impact on our customers in pursuit of that
22 RPS target. So, it's never been a matter of pursuing
23 renewables at any cost. Our costs have always been a
24 pretty strong consideration for us.

25 As I mentioned on the previous slide, we began

1 executing PPAs in 2004, and we now have 13 of those in
2 place, plus three more that we've terminated. We have
3 six solar, five with ethanol gas and two wind PPAs in
4 place right now. All those projects are now operating,
5 with the exception of that last solar contract that we
6 executed this year. That was the famous \$36-a-megawatt-
7 hour contract, which is supposed to start in 2021.

8 And then, we've also been very aggressive in
9 pursuing energy efficiency measures which, of course,
10 help reduce our load, therefore, reduce the amount of
11 energy we have to procure. Like a lot of utilities,
12 we've been seeing our load decreasing pretty
13 consistently over the last five or so years.

14 So, overall, the point I'd like to really make
15 here is that doing all of this stuff has required an
16 extremely significant investment of resources on the
17 City's part. Not just in terms of the cost of buying
18 energy from these renewables plants, although that's
19 certainly not an insignificant amount, but also in terms
20 of the investment of staff time and legal resources.
21 We've spent a lot of time going out and pursuing these
22 resources through our own RFPs, as well as through
23 FTPA's RFPs.

24 We did all of this because it was something that
25 the Palo Alto community determined was worthwhile, not

1 because we were mandated to do it.

2 The next slide. So, this is just an
3 illustration of where all of our renewable resources are
4 located. Right now, all of them are located in
5 California. But as you can see, they're fairly spread
6 out, and there are very few that are in the greater Bay
7 Area, where we are.

8 The next slide. So, we see a variety of kind of
9 big picture challenges coming our way over the next 10
10 to 15 years. Even though we've already got enough
11 contracts in place to satisfy our 2030 requirement.

12 The first three points on this slide are the
13 most significant ones. Basically, as more and more
14 intermittent resources, like ours, are getting built in
15 the State to satisfy the statewide RPS mandate, we're
16 seeing the grid getting built out in order to reach
17 those resources. And, therefore, transmission costs are
18 kind of going through the roof right now.

19 At the same time, we have so many new, solar
20 resources getting built, LNPs for those resources are
21 being driven way, way down, particularly in the spring
22 and the fall, on low load days.

23 As the ISO struggles to integrate all these
24 resources, we're seeing our RA requirements rising and
25 constantly evolving, and from our perspective, none of

1 these trends looks like they're slowing down any time
2 soon. So, even though we've got all these renewable
3 contracts executed, and we think they're priced fairly
4 attractively, frankly, we don't really know what our
5 total financial exposure is as a result of them.

6 The last two points are just that at this point
7 we don't really have any idea what the impacts of
8 regionalization will be, and all the regulations we
9 face, and that's kind of scary.

10 And, finally, to the extent that we have any
11 DERs in our system, it all tends to be smaller, rooftop
12 generation, so we're not able to count any of that
13 towards our RA requirements, even though that's real
14 generation that's located in one of the most
15 transmission-constrained parts of the State.

16 The next slide. And since this is an IRP
17 workshop, I certainly want to touch on some of our
18 regulatory concerns. First of all, as Scott noted
19 earlier, we already to produce an IRP in Palo Alto,
20 although we call it something different than that.

21 Also, I wanted to emphasize that we're a
22 community that went out and achieved the State's 2030
23 RPS mandate, and we did that not because we were told to
24 do it, or instructed on how to do it, but because the
25 community decided that we should. But we would really

1 like to see regulations that are flexible enough to
2 allow communities, like ours, to be creative, and to be
3 ambitious, and to meet the broader State goals in the
4 manner that's best suited to us.

5 Also, and this is important to us, as a
6 community that went out way ahead of almost everyone
7 else, we'd like to see regulations that reward early
8 action, rather than penalizing it.

9 For example, this is something we touched on in
10 other forums, but most of our renewables contracts were
11 executed prior to June 1, 2010. So, even though they're
12 located in State, they're deemed to be PCC zero
13 resources, rather than PCC one. And that means that we
14 have relatively little room to procure any new PCC three
15 resources. And we haven't procured any of those
16 resources to date and, obviously, we don't have any need
17 to procure them right now to meet our requirements. But
18 we would like to have the ability or the option to do so
19 which, right now, the regulations limit pretty severely.

20 I also wanted to make the point that all of the
21 reporting requirements we face, as well as the time we
22 spend kind of weighing in on the regulatory language, it
23 really takes away from the time and the resources that
24 we get to spend on going out and serving our customers,
25 and working on satisfying these ambitious State goals.

1 So, to the extent that we can streamline
2 regulations, and make them more consistent, and
3 predictable, and avoid redundancy in reporting
4 requirements, that would certainly be very helpful.

5 The next slide. In terms of storage, we
6 recently completed our second storage assessments. And
7 we determined, again, that it doesn't make sense for us
8 right now because it's still not cost effective. But
9 we're seeing storage becoming closer to becoming cost
10 effective, and we think it might reach that point in the
11 next five to ten years. So, we are considering moving
12 forward with small scale, customer-sided storage
13 projects in the next few years, in order to get some
14 experience with that technology.

15 And we certainly think that when storage does
16 become cost effective, it will be very useful for
17 helping to minimize the curtailment of solar resources,
18 mitigate some of the duck curve problems, satisfy our
19 RA, and ancillary service needs, and improve the overall
20 stability of the grid.

21 The next slide. In terms of distributed
22 resources, Palo Alto is definitely a very built out
23 community, so there's not a lot of open land available
24 to build a decent size solar or wind project on the
25 ground. So, although we have a lot of PV installations

1 in town, they're mostly pretty small, rooftop ones.

2 And right now, local solar is meeting around one
3 percent of our total energy needs. But we do have a
4 goal of quadrupling that amount by 2023. And we're
5 going to try to do that partly through our own feed-in
6 tariff program, which we launched in 2012, and partly
7 through our community solar program that we're working
8 to develop right now.

9 We also have an extremely high penetration of
10 EVs in Palo Alto. But so far, we haven't really seen a
11 big distribution system impact, either from the PV or
12 the EVs, because our system is built pretty robustly to
13 begin with.

14 And, lastly, we also are operating a voluntary
15 demand responses program for our large, commercial
16 customers, in the summertime. And we've seen the
17 ability to reduce our peak demand by between 300 and 900
18 kilowatts through that program.

19 The next slide. Just a few notable
20 characteristics about Palo Alto, in addition to our high
21 RPS level. As I mentioned, we're a very built out
22 community. There's limited potential for local
23 distributed generation.

24 We also have a very high rate of uptake for both
25 rooftop PV and electric vehicles. And that can make

1 both load forecasting and distribution system planning
2 pretty challenging in the long term.

3 And, finally, in addition to our renewables, we
4 have a very high concentration of large hydro resources
5 in our portfolio. And hydro, of course, being so
6 unpredictable year to year, and even month to month, and
7 that can make managing our portfolio pretty challenging.

8 The next slide. And, lastly, Palo Alto also has
9 some fairly unique goals. For example, a few years ago,
10 our city council approved a carbon-neutral supply plan.
11 And this program, it wasn't pushed on us by any
12 mandates. It came about completely in a grass roots
13 way, with a group of our local residents getting
14 together and saying, we have a lot of hydro in our
15 portfolio, and a lot of renewables, and our rates are
16 still very low, so let's just finish the job and get to
17 100 percent carbon neutral. So, we've been doing that
18 since 2013.

19 And, now, that same grass roots effort, that
20 same push from residents has led us to some very
21 aggressive local solar goals, and a big move into
22 electrification, as well as some extremely aggressive
23 GHG reduction goals.

24 And that's all I have, so thank you for your
25 time.

1 COMMISSIONER HOCHSCHILD: Thank you.

2 MS. SMITH: Great. Thanks for patching in, Jim.

3 Next, I'd like to invite Bryan Swann up, from
4 the Southern Municipal Utility District. Oh,
5 Sacramento, wow.

6 (Laughter)

7 MS. SMITH: My utility. Sorry about that.

8 MR. SWANN: My name is Bryan Swann, with the
9 Sacramento Municipal Utility District. Oh, did I do
10 that? I'm the Manager of Forecasting and Economic
11 Analysis at SMUD, also known as the Resource Planning
12 Group.

13 First off, just want to thank the CEC staff for
14 coordinating this, and Commissioners for being here to
15 listen to our story, in meeting the 50 percent goal.
16 So, thank you.

17 Presentation objectives. First, I'd like to
18 just provide a brief overview of SMUD. Second, how is
19 SMUD planning to achieve the 50 percent RPS goal. What
20 obstacles do we anticipate in achieving the 50 percent
21 RPS. And just some final, regulatory suggestions.

22 So, SMUD's the fifth largest California utility,
23 with an all-time peak load of about 3,300 megawatts.
24 And retail sales somewhere in the range of 10 to 11
25 thousand gigawatt hours a year.

1 SMUD is a publicly owned utility, not associated
2 with a city or government, county government. It's
3 governed by a seven-member elected board, of which the
4 SMUD board has adopted several key environmental goals
5 that help shape our resource plan forward.

6 For example, we've got a 33 percent and 50
7 percent renewable goal for 2020 and 2030, consistent
8 with State policy. We also have one and a half percent
9 annual energy efficiency goals, as well as 34 percent,
10 and 90 percent greenhouse gas reduction goals for 2020
11 and 2050.

12 So, how is SMUD planning to achieve the 50
13 percent RPS goal? To start, we're well above where we
14 need to be for 2020, the 33 percent RPS. And we've got
15 a good foothold on the 50 percent, as well. We will
16 need additional resources, starting sometime in the mid
17 to late 2020s.

18 SMUD's IRP process has helped guide procurement
19 decisions to this point and will continue as we reach
20 towards 2030. As we work towards 2030, we plan to
21 continue some of our key processes, including
22 procurement development of utility-scale renewable
23 projects, while relying on compliance categories for
24 flexibility in meeting those obligations.

25 As well, we plan to continue promoting energy

1 efficiency in accordance with SMUD policy and State
2 goals. We will continue expansion of DRs in our service
3 territory. We plan on promoting, continuing promoting
4 voluntary green pricing programs, such as Greenergy and
5 Solar Shares. We plan on continuing promotion of low
6 income and disadvantaged community focus programs, of
7 which we have a few. Focused on solar programs for
8 those communities, as well as energy efficiency,
9 education and installation.

10 As well, in reaching towards 50 percent, we will
11 use our transmission assets, as well as EIM
12 participation, to support achieving the goal, as
13 necessary.

14 The last point here, on this slide, is just we
15 haven't determined a 2020 energy storage target as of
16 yet, but we'll do so within the next year, or less than
17 the next year.

18 This table just reports some of the latest
19 renewable developments or contracts that we've been
20 working on. As you can see, we've got a quite diverse
21 mix of resources here. For example, we've got a
22 geothermal contract that we've arranged for, to come
23 online next year, in the Salton Sea area. As well,
24 we've got a 200 megawatt wind project in the desert
25 southwest, that we have planned online in 2019. We also

1 have some larger solar PV projects that we have in the
2 works. Primarily, to feed our Solar Shares program.

3 This chart just illustrates where we are in
4 reaching the 50 percent RPS, as can be seen here. It's
5 not until compliance period five, where we actually need
6 to go out and procure some additional renewable
7 resources. And, you know, as we have in the past, we'll
8 be proactive in procuring those resources in case the
9 actual megawatts don't show up as expected.

10 So, what obstacles do we anticipate? SMUD's on
11 path for 50 percent, but there are some obstacles that
12 we might see. DRs, for example, are impacting load
13 growth. With peak loads, we're expecting to be about
14 flat. Energy loads are expected to actually have a
15 negative growth over the next 10 to 14 years.

16 The whole duck curve issue, increasing levels of
17 solar PV cause peak load shift, increasing ramping
18 needs, and over-generation in low load periods.

19 Distribution system upgrade may be needed to
20 prevent local voltage issues caused by clustering of
21 rooftop PV systems. So, better planning at the
22 distribution system may be needed.

23 And, finally, on this slide, just planning to
24 meet load is difficult when DR adoption is largely up to
25 a consumer. So, resource adequacy planning could be a

1 moving target.

2 This chart just illustrates one of the points I
3 made on the previous slide. You have gross demand.
4 These are gigawatt hours of retail sales. When we take
5 into account the net effect of EV, PV and electric
6 vehicle load, this is kind of where we see our net loads
7 looking like in the next 10 to 14 years.

8 So, how can SMUD mitigate some of these
9 potential issues? First, I'd like to mention that
10 SMUD's system, between its UARP (phonetic) and thermal
11 assets is -- has a high degree of flexibility. And,
12 generally, we don't anticipate needing significant new
13 capacity resources for the next decade. That's one
14 interesting finding that we found as a result of the
15 Iowa Hills study, that our current system was flexible
16 enough to handle even a 50 percent RPS.

17 Curtaining solar PV will be key when penetration
18 is high. Smart inverters could help integrate PVs.
19 Energy storage can help manage over-generation caused by
20 solar PV. However, costs are prohibitive at this point.
21 I think that's a common theme that we're all hearing
22 here, today.

23 Advances, technological advances in DMS and DRMS
24 will help optimize the use of storage in solar PV. But
25 to this point, our experience is that the technology's

1 not ready for market, yet.

2 EIM participation will provide access to more
3 balancing resources for integrating renewables. The
4 diversity of that market will just allow access to more
5 ramping, and AS resources.

6 As many of you are probably aware, we're
7 currently evaluating a transmission project that would
8 allow greater access to regional markets, renewables,
9 allowing for possible carbon reduction in SMUD, as well
10 as a hedge against resources that don't actually
11 materialize.

12 And the final point on this slide is just that
13 SMUD's considering adopting planning guidelines,
14 consistent with AB 327, that evaluate DR resources
15 versus traditional distribution system upgrades. This
16 may lend to better planning at the distribution system
17 level and lend to DRs being implemented across SMUD's
18 service territory in a more methodical approach compared
19 to customer adoption.

20 SMUD requests a few considerations when talking
21 about regulations, moving towards 50 percent. We ask
22 that regulations be certain, while flexible, allowing
23 confidence in resource decisions that are made years in
24 advance, allowing for reasonable costs to comply. We
25 ask that voluntary renewable programs, like SMUD's

1 Greenergy and Solar Shares programs continue to count
2 towards RPS goals, and that the reasonable proximity
3 requirement be broadly defined.

4 The proposed language, here, requires generation
5 to be in service territory which, for SMUD, would
6 restrict its ability to purchase competitively priced
7 renewables, located throughout California.

8 We ask that more certified biogas count towards
9 RPS obligations. Biogas lends to greater system
10 reliability, given the generation can be shaped. So,
11 it's kind of a -- with biogas, it's a two-headed, I
12 guess, benefit for us in that it can help firm the
13 issues seen with intermittent resources, while also
14 contributing to our RPS obligations.

15 We ask that the CEC's IRP greenhouse gas
16 planning targets are consistent with post-2020 ARB
17 greenhouse gas reduction goals, so that POU's are not
18 attempting to comply with dueling requirements.

19 And, finally, we ask for guidance in collecting
20 and certifying residential SB1 RECs that, for SMUD total
21 60,000 RECs a year. Which due to the high admin costs
22 of collecting and certifying, SMUD has not yet
23 benefitted from. So, if there's any ease in the
24 collection requirement, that would be appreciated on our
25 part.

1 So, in summary, SMUD is positioning itself to
2 meet the 50 percent RPS and is well on its way.
3 Obstacles may be seen with high penetration of
4 intermittent resources and lack of visibility of behind-
5 the-meter distributed generation. Although SMUD's
6 system has a high level of flexibility, which we'll be
7 able to handle intermittency issues for some time, EIM
8 and transmission plans will add to this flexibility.

9 Smart inverters and energy storage, along with
10 DRMS will lend to optimized use of these DRs, though the
11 the standardized technology for that application needs
12 some work, we believe.

13 And, finally SMUD asks for regulatory certainty,
14 flexibility, and consistency as the CEC develops
15 regulations under SB 350.

16 COMMISSIONER HOCHSCHILD: That it? Thank you
17 very much.

18 MR. SWANN: All right, thank you.

19 COMMISSIONER HOCHSCHILD: And this is our last
20 speaker next. Right?

21 MS. SMITH: Okay, for our last formal
22 presentation by POUs, we're going to turn to Lincoln,
23 from Burbank. Lincoln, we're going to unmute you.

24 MR. BLEVEANS: Okay.

25 MS. SMITH: Oh, we can hear you.

1 MR. BLEVEANS: There we go. It looks like the
2 presentation is up. Okay, this is Lincoln Bleveans from
3 Burbank Water and Power. And as the other speakers have
4 said, greatly appreciate the opportunity to speak with
5 you this afternoon, and share our concerns and,
6 hopefully, share some possible solutions to those
7 concerns.

8 I'd like to echo everything that my colleagues
9 have said. I thought it was very, very comprehensive.
10 I'm going to be a little bit less comprehensive, and
11 probably a little more high level, just to avoid
12 repeating what's already been said.

13 So, if we could go to the next slide, please.
14 So, first of all, just a quick introduction to Burbank
15 Water and Power. Obviously, a municipal utility in
16 California, down here in pretty much in Hollywood. Our
17 customers are, by and large, well, we have a lot of
18 residential customers, but also the big studios, Warner
19 Brothers and Disney. We have, I think, the biggest
20 IKEA in North America being constructed right now, in
21 Burbank. So, we have a lot of large commercial
22 customers who have very ambitious renewable energy goals
23 and are very interested in getting out on the cutting
24 edge of energy, and energy procurement.

25 So, we're in a position where I think, if we

1 don't drive the bus, they're probably going to drive it
2 for us.

3 And, finally, we're in the L.A. Balancing
4 Authority. We're not in the ISO. So, we are dealing
5 with a portfolio of both fossil and renewable generating
6 assets, and a finite transmission network to bring those
7 back to Burbank. A lot of which is shared with Los
8 Angeles Department of Water and Power. So, that market
9 access, through that finite transmission system, and not
10 having great access to the ISO, puts us in kind of a
11 unique position.

12 The next slide, please. So, we have a, I love
13 this slide. We have a very strong commitment to our
14 customers, reliability, affordability, and
15 sustainability, and those things go hand in hand. We've
16 done very, very well, and I've not been here long enough
17 to take credit for it. But we've done very, very well.

18 Reliability, we've been hanging five 9s at the
19 distribution level, on a pretty regular basis. From an
20 affordability standpoint, I think we're second only to
21 Riverside in the region, in terms of low rates, all end,
22 including energy.

23 And, finally, we've been at or above 33 percent,
24 now, for a couple of years. So, we're really walking
25 the walk. From a policy perspective, we see ourselves

1 as policy partners with the State of California. So, I
2 think we're on the same team.

3 All of this doesn't happen by accident, though.
4 This is really the result of a lot of very careful
5 planning and a lot of very detailed analyses, and very
6 difficult discussions over years, and years, and years
7 to make sure that we hit these numbers year and year
8 out. Obviously, our customers, our citizens of Burbank
9 have benefitted from this, but you do it long enough and
10 they start to expect it. And, so, we're in the position
11 right now to meet our goals, and the State of
12 California's goals, from a climate perspective, while
13 still keeping reliability extremely high, and keeping
14 rates extremely low.

15 So, that is our challenge moving forward. And
16 for me, in particular, it's a planning challenge.

17 The next slide, please. So, we have three
18 fundamental things that we're dealing with right now,
19 from the long-term planning perspective. One is that
20 our load is flat to declining. We have done a really
21 good job with energy efficiency, and conservation, and
22 rooftop solar to the point where organic load growth has
23 basically been netted out to a flat or declining curve
24 going forward.

25 We see some circumstances under which that might

1 change, but those are not base case sort of
2 circumstances. Those are circumstances that would be a
3 sensitivity, so to speak.

4 So, we do that, while adding energy to our
5 portfolio in the form of additional renewable energy
6 contracts. And, of course, heading towards 50 percent
7 by 2030.

8 The next slide. The second of those fundamental
9 challenges is instantaneous intermittency. This is a
10 three-day chart of the Copper Mountain 3 solar project,
11 that we share with Los Angeles, out in the Nevada
12 desert. And, as you can see, when the skies are clear
13 or when it's only moderately cloudy, it's a pretty easy
14 asset to integrate. But when it gets cloudy, and it
15 does out there, you get monsoonal moisture in
16 particular, it gets incredibly hard. And because we're
17 in the L.A. Balancing Authority, we're essentially
18 treated as a sub-balancing authority and, therefore,
19 responsible for matching the generation and load. And
20 this would be generation on a real-time basis.

21 So, we end up with very, very fundamental
22 economic and reliability challenges coming from the
23 intermittency of renewable energy, solar in particular.

24 The next slide. Can I have the next slide,
25 please? There we go. And the third is the duck curve,

1 and we've all seen this chart. We see our own version
2 of the duck curve. We're already seeing it, both within
3 our own system and out in the Western Power markets.
4 And that is both the belly of the duck which is, of
5 course, over-generation.

6 Most of all, though, it's that late afternoon
7 ramp as solar switches off and our customers go home and
8 turn their air conditioners on. That is an increasing
9 challenge, especially with so much solar in our
10 portfolio, already.

11 So, what we're trying to do is redesign our
12 rates, in partnership with our city council, to change
13 customer behavior. After decades of telling them that
14 the middle of the day was the wrong time to run your
15 dishwasher, now we've got to tell them that that's
16 actually the perfect time.

17 And adding storage. And as I'll describe in a
18 minute, we've been very aggressive in looking at that
19 and trying to make that happen.

20 The next slide, please. So, the agenda said
21 obstacles. I actually like challenges better. Because
22 I really do think that's what they are.

23 We are a medium-sized utility, very leanly
24 staffed, and all of us have multiple hats. Sometimes we
25 have to write everything down just to remember all of

1 the hats that we each wear. So, we don't have people
2 who can be dedicated, day in and day out, to resource
3 planning. It's something that we do along with
4 everything else that we do.

5 And, when you look at the SB 350 deadlines, the
6 idea that everyone, every public utility has to have an
7 IRP done, more or less at the same time, we have a
8 significant concern that that is going to create a
9 seller's market for IRP consultants, and perhaps a
10 shortage of IRP consultants. Because everyone's going
11 to want to do modeling and analysis at the same time,
12 which will drive time longer, and costs up.

13 We're also over-resourced on the power
14 generation. We have been, even before we started adding
15 renewables back in 2004, in response to direction from
16 our local policymakers. So, we're over-resourced on
17 power generation. We don't have load growth. We have
18 finite transmission coming in. So, from the supply
19 perspective, it's a fairly complicated picture.

20 Within that, we have unavoidable legacy
21 commitments. For us, the big one is Intermountain Power
22 project. We have committed to exit that project, as the
23 other participants have, and that is in line with the
24 direction that we've received from our city council, and
25 from our ratepayers, when those contracts expire. But

1 they don't expire until the middle of the next decade.

2 So, in the meantime, we are long energy. We
3 have too much energy. Pretty much every hour, every one
4 of the 8760 hours of the year. And that creates an
5 affordability challenge, because we're invertedly
6 selling that at less than we are paying for it.

7 And, finally, integrating renewables. This is a
8 challenge. I really liked the E3 slide, earlier today,
9 talking about the fact that this kind of renewable
10 penetration is a case of first impression for the entire
11 planet. We are truly learning globally and acting
12 locally here. We don't know how to do it. We're not
13 sure, staff, the consultants aren't sure. There are
14 truly -- there's truly no one in the world who knows how
15 to do this from experience. We're all figuring it out
16 as we go.

17 In response to that, we have been incredibly
18 proactive on storage. Trying to get, for example, a
19 compressed air energy storage pilot project going at the
20 Intermountain site, which happens to be perfect for it.
21 And we're still hoping to make that happen and be able
22 to look at that in the context of our overall planning
23 needs.

24 So, we're looking at these challenges. We know
25 what they are. And, now, we have to figure out how to

1 address them.

2 The next slide, please. So, and it all comes
3 back, for us, to this commitment to our customers.
4 Reliability, affordability, sustainability. We don't
5 have shareholders. We don't even get bonuses, as staff.
6 But this is our commitment. This is why we come to work
7 every day, and this is what we measure ourselves
8 against.

9 And as I said before, you don't hit the source
10 of home runs every year without careful planning.
11 Sometimes that looks like an IRP. Other times it
12 doesn't. But now that we have SB 350, and as soon as I
13 finish up our current IRP, next month, we are going to
14 be going full bore on an SB 350-compliant IRP by Jan. 1,
15 2019. And look forward to support from the staff,
16 probably a lot of interaction with CEC staff.

17 But as other speakers have said, given unique
18 circumstances in every, single one of the POU's, and
19 every, single one of the communities that the POU's
20 serve, the less prescriptive that is, the better we will
21 be able to hit the policy target. Which is, as I said
22 before, our policy target, as well, with a policy
23 partner with the State of California.

24 So, with that, I think that's my last slide, I'd
25 be happy to take any questions.

1 MS. SMITH: Great. Thanks so much, Lincoln.

2 So, that wraps up our formal presentations.

3 Unfortunately, Commissioner Hochschild had to step out
4 to address a personal emergency that came up.

5 And we did just want to acknowledge that Dan
6 Severson, from Turlock Irrigation District, is in the
7 audience. We're glad to have you here. And, of course,
8 if you have any comments you'd like to echo, of your
9 colleagues, you're welcome to do that.

10 Otherwise, I think we can transition to the
11 public comment period. Do we have any comment? Okay.
12 We don't have any blue cards, but if anyone would like
13 to make a public comment, you're welcome to do so, now.

14 If not, we also have, as I mentioned earlier,
15 and I know that some of the rep organizations mentioned
16 they're going to submit written comment. And, in fact,
17 I peeked over and noticed that some of the Energy
18 Commission staff, who are actually in charge of writing
19 the IRP guidelines, were diligently taking notes when,
20 Justin, you mentioned some of the types of data or
21 information we could provide during that process that
22 would be helpful. So, if you're able to submit that in
23 written form, I think that would be helpful for us.

24 Okay, with that, we should probably turn to the
25 WebEx, and open it up to see if anyone has any public

1 comment.

2 Oh, yeah, Justin, please.

3 MR. WYNNE: So, Justin Wynne for CMUA. I've
4 been selected to go up here. So, the 30th is sort of a
5 rough deadline, in light of the holiday, so I don't know
6 if there's any flexibility around that, that deadline.

7 MS. SMITH: Yeah, I think we can revisit that.
8 And we will post an updated deadline that might work
9 better for the holidays.

10 MR. WYNNE: That would help us get input from
11 the different utilities, so we'd appreciate that.

12 MS. SMITH: Okay.

13 MR. WYNNE: Thank you.

14 MS. SMITH: We can do that.

15 Okay, let's go to the WebEx. If anyone online
16 has a public comment, please speak up. Yeah, go ahead.
17 Speak now. No. Okay, we can close it.

18 Okay, with that, I'm going to turn it over to
19 Commissioner Douglas for any closing remarks.

20 COMMISSIONER DOUGLAS: All right. Well, I'd
21 just like to thank everybody for coming and
22 participating in the workshop. It was particularly
23 helpful for me to hear it, since I have not been steeped
24 in the day to day of RPS. But I am steeped in the day,
25 today, of finding ways of getting renewable projects in

1 place across the landscape.

2 So, anyway, I appreciated all of your time. I
3 know our staff did and Commissioner Hochschild did, as
4 well.

5 So, with that, we're adjourned.

6 MS. SMITH: Thank you.

7 (Thereupon, the Workshop was adjourned at
8 3:59 p.m.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24


25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 5th day of January, 2017.




Kent Odell
CER**00548

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 05 of January, 2016.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520