

DOCKETED

Docket Number:	16-TRAN-01
Project Title:	SB 350 Transportation Electrification (Publicly Owned Utilities)
TN #:	215114
Document Title:	Transcript of the 12/07/16 Vehicle-Grid Integration Communications Standards Workshop
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	12/28/2016 10:49:14 AM
Docketed Date:	12/28/2016

JOINT STAFF WORKSHOP OF THE CALIFORNIA ENERGY COMMISSION
AND PUBLIC UTILITIES COMMISSION

In the Matter of:)
) Docket No. 16-TRAN-01
Vehicle-Grid Integration (VGI))
Communications Standards)
_____)

CALIFORNIA ENERGY COMMISSION
CHARLES IMBRECHT ROOM - FIRST FLOOR
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

WEDNESDAY, DECEMBER 7 2016

10:00 A.M.

Reported by:
Kent Odell

APPEARANCESJOINT WORKSHOP MEMBERS

Robert Weisenmiller, Chair, Presiding Member

Carla Peterman, Commissioner, California Public Utilities
Commission

Tyson Eckerle, Office of Governor Brown

Matthew Coldwell, Office of Commissioner Scott

ENERGY COMMISSION STAFF

Noel Crisostomo, Air Pollution Specialist, Fuels and
Transportation Division

Mike Gravely, Research and Development Division

PRESENTERS

Amy Mesrobian, California Public Utilities Commission

Stephanie Palmer, Air Resources Board

Jill Powers, California Independent Systems Operator

Sunil Chhaya, Electric Power Research Institute

Rich Scholer, Fiat/Chrysler

Adam Langton, BMW North America

Dave McCreadie, Ford

Judy Brunson, Daimler/Mercedes-Benz

Barry Sole, Volkswagen Group

Stephen Davis, KnGRID

Stephan Voit, KnGRID

Frances Cleveland, CEC/PUC Smart Inverter Working Group

PUBLIC COMMENT

Anne Smart, ChargePoint

Mike Bourton, Kitu Systems

Urvi Nagrani, Motive Power Systems

Dean Taylor, Southern California Edison

Stacy Reineccius (via WebEx), PowerTree Corp

Max Baumhefner (via WebEx), Natural Resources Defense
Council

Craig Rodine, ChargePoint

John Holmes, University of California, San Diego

Byron Washum, University of California, San Diego

Nikki Dolio, EVgo

JC Martin, San Diego Gas & Electric

Mehdi Ganji, Willdan Group

Dan Bowermaster, Electric Power Research Institute

Rijit Gadh (via WebEx), University of California, Los
Angeles

Abigail Tinker, Pacific Gas & Electric

AGENDA

	Page
Welcome, Logistics, Agenda, and Purpose	1
Energy Commission - Chair Weisenmiller	
Public Utilities Commission - Commissioner Peterman	
Office of Governor Brown - Tyson Eckerle	
Energy Commission - Commissioner Scott's Office, Matthew Coldwell	
California Vehicle-Grid integration Working Group Activities	14
Public Utilities Commission - Amy Mesrobian	
Energy Commission - Noel Crisostomo	
Air Resources Board - Stephanie Palmer	
Independent System Operator - Jill Powers	
Q&A	
Approaches to Implement Vehicle-Grid Integration	45
Electric Power Research Institute - Sunil Chhaya	
Fiat/Chrysler - Rich Scholer	
BMW North America - Adam Langton	
Ford - Dave McCreadie	
Q&A	
ISO/IEC 15118 Vehicle to Grid Communication Interface	88
KnGrid - Stephen Davis & Stephen Voit	
Daimler/Mercedes-Benz - Judy Brunson	
Volkswagen AG - Barry Sole	
Q&A	
Public Comment - Other Techniques for Grid Integration	121
Benefits and Costs of Implementing Standards	
Electric Rule 21 Smart Inverter Working Chair, Frances Cleveland	144
Q&A	

AGENDA

Maintaining Progress to Timely Meet Requirements of
Senate Bill 350 and B-16-2012

Next Steps - Proceeding Timeframes, Comment Prompts,
and Implementation Proposal

Energy Commission - Noel Crisostomo and Mike Gravely
Public Utilities Commission - Amy Mesrobian

Public Comment

1
2 P R O C E E D I N G S

3 10:22 A.M.

4 SACRAMENTO, CALIFORNIA, WEDNESDAY, DECEMBER 7, 2016

5 CHAIR WEISENMILLER: Good morning. I guess we
6 don't have to go through the normal announcement about if
7 there's a fire alarm.

8 But anyway, so anyway, as I said, with the shift
9 of stuff, I've got to come in, make some comments, and head
10 off to my 10:30 meeting. So I appreciate your flexibility
11 on this.

12 I think the basic message is that California
13 overall is leading by example. And in terms of dealing with
14 showing it's possible to have a sustainable economy, growth,
15 and at the same time, reducing greenhouse gas emissions.
16 And so that's bottom line. You know, as I said, we're one
17 percent of the world's greenhouse gas emissions. So in
18 terms of if you take it to zero it's not really going to
19 affect the global situation as much as what we can do by
20 example.

21 And in California, and this varies throughout the
22 world, the transportation sector is our largest source of
23 greenhouse gas emissions. And so reducing emissions from
24 this sector is really critical to getting to our, you know,
25 2030 target, 40 percent below, and then getting to our 2050

1 target. And, you know, certainly one way we see to reduce
2 emissions in the transportation sector, and as I said, this
3 is almost 40 percent, so it really dominates our inventory
4 of emissions, and it really has to dominate where we look
5 for solutions.

6 Good morning, Commissioner Peterman. Hi.

7 And so the way we're doing that is an expansion of
8 electric vehicles. And we're investing in charging stations
9 across California, particularly thanks to the recent
10 decision of the PUC, among other things. And we're looking
11 for ways to really expand the opportunities for electric
12 vehicles or electric transportation in disadvantaged
13 communities. Again, it's really critical that all
14 Californians share in our programs to really address climate
15 change with clean technologies.

16 At the same time, we really need to figure out
17 ways to make these electric vehicles and opportunity to deal
18 with some of the grid integration issues. So that means we
19 really need data and communication standards to ensure that
20 the grid is prepared to handle charging millions of electric
21 vehicles at affordable rates, and at the same time for these
22 electric vehicles to really help smooth how the electric
23 grid is run.

24 You know, I'll just note, yesterday I was at 29
25 Palms, talking to the Air Force about their really

1 pioneering experiment down at the L.A. Air Force Base. And
2 one of the things we've recently discovered is that their
3 data doesn't match the billing data on, you know, what value
4 they provide it, when they provide it, and what the costs
5 are. So that's something which the ISO is starting to dig
6 in at this stage. But again, it really illustrates the
7 importance of this workshop, that to the extent they're
8 really trying to provide value to the grid, you know, we've
9 got to get the numbers right.

10 So anyway, thanks for the interest. Hopefully we
11 can get to a better space for this exercise. But, you know,
12 and I certainly appreciate everyone's interest today, so
13 thanks.

14 MR. CRISOSTOMO: Thank you, Chair Weisenmiller.
15 Again, sorry for the snafu for the fire drill. And
16 obviously, your interest is overwhelming physically. So
17 when we do hear back from Mike, who I think is looking into
18 how Rosenfeld might accommodate us, we will try to make do
19 as well as possible.

20 For the CEC staff here there is a WebEx being cast
21 live. So perhaps to accommodate some of our guests that
22 have come, please consider joining via the WebEx. I really
23 appreciate everyone's flexibility.

24 So given those introductory remarks, we'll have to
25 kind of shift everything half-an-hour. And I did build in

1 time at the end for public comments, so hopefully you won't
2 need to change your schedules very much. But again, this is
3 the beginning of a process to learn about how we can
4 integrate vehicles, millions of vehicles into the grid
5 effectively. And so let's go through the agenda and again,
6 just add 30 minutes of time, roughly, for each of those
7 segments.

8 Today is split into three parts.

9 And I guess I should introduce myself. My name is
10 Noel Crisostomo. I'm an Air Pollution Specialist in the
11 Fuels and Transportation Division at the CEC. Many of you
12 might have seen me last at the Public Utilities Commission,
13 where I was a Regulatory Analyst working on electric
14 vehicles. I'm glad to be sharing the stage with some of my
15 colleagues and our state's leadership in both transportation
16 and decarbonized energy here today.

17 So today's split into three parts. First, to
18 introduce California's goals and needs for vehicle grid
19 integration and the policy actions that are taken to pursue
20 effective integration. To that end, we'll have opening
21 remarks from our leaders here to set the table for
22 California's interest in widespread transportation
23 electrification. And subject matter experts from the PUC,
24 ARB, Independent System Operator will join me in explaining
25 what the state has been doing to enable vehicles to become

1 distributed energy resources.

2 The middle part of the day is focusing on what we
3 can learn as the state and as industry from each other. We
4 have representatives from the electric, automotive and
5 charging sectors, with decades of experience building,
6 designing and deploying products that are capturing the
7 imagination of customers with new technologies and models,
8 and in increasing frequency. It seems like some new product
9 is coming out every week.

10 Communications and controls are one of the most
11 esoteric subjects that I have spent time on in my brief
12 energy career. And so I wouldn't expect everyone in this
13 audience to understand the particulars of every slide.
14 However, these technologies are the foundation of enabling
15 vehicles to become resources for our networks. And we can
16 enable them to become grid assets, instead of liabilities,
17 all, meanwhile, not jeopardizing customer confidence that
18 they can get where they need to go.

19 We're glad to welcome these experts that are
20 providing presentations, and you in the audience to provide
21 your perspectives. Because we have so many people from
22 different backgrounds, I'd like to ask that our experts keep
23 discussions targeted at perhaps the 3,000-foot level, not
24 the 3-foot level, because standards are extremely complex.
25 And we will have plenty of time for discussions here and in

1 a proactive implementation process that my colleague Amy
2 Mesrobian from CPUC will be going into in detail in a few
3 minutes.

4 The third part of the day is framed as setting our
5 pathway to 2020. We are a little more than three years away
6 from the deadline that Governor Brown set forth for us in
7 his 2012 Executive Order, calling on the state agencies to
8 pursue actions that would deploy grid-integrated
9 infrastructure that supports 1 million zero-emission
10 vehicles.

11 To ensure that we're on task to meet this goal,
12 this session starts with a perspective from Frances
13 Cleveland, who, with direction from the CEC and PUC, helped
14 transform the DER industry with her efforts in chairing the
15 Smart Inverter Working Group. We'll then have time to
16 explore questions around strategies to facilitate these
17 private investments, and where additional state efforts and
18 financing or funding can support the industry.

19 I hope everyone was able to pick up a discussion
20 prompts page next to their agenda, so take a look at those
21 throughout the day.

22 These discussions will be the basis of your
23 feedback so that we can create and implementation strategy
24 that timely electrifies our transportation sector, which
25 accounts for 80 percent of NOx and ozone emissions, and 40

1 percent of our state's greenhouse gases.

2 And so while the day is packed, about now 90
3 minutes of time will be available to you for feedback. And
4 I'll do my best to keep myself and my fellow presenters on
5 time so that we can facilitate that.

6 Along those lines, I'd like to reiterate that
7 since these are technical subjects that go down rabbit holes
8 quickly, we need to set ground rules to use our time
9 efficiently.

10 To that end, use the Q&A time after people finish
11 presenting, as noted on the agenda, to ask technical
12 questions because they might get to your point during the
13 presentation itself.

14 Second, our Public Adviser will be helping me out
15 during the public comment periods, as indicated. Please
16 take and -- well, maybe since this is so full, we'll have to
17 rethink the blue card part.

18 Oh, excellent. Evacuate again please.

19 (Off the record at 10:37 a.m.)

20 (On the record at 10:46 a.m.)

21 MR. CRISOSTOMO: Let's get restarted.

22 So for Q&A, just ground rules. During the
23 facilitated discussion slot, the questions that you have in
24 hand are broader and more intended to be brainstorm-type
25 activities or brainstorm-type issues to talk about to spark

1 ideas on how we can work together through this process. So
2 as a logistical matter, please, when you're speaking,
3 introduce yourself and your organization, raise your hand,
4 wait to be recognized, and use a microphone so that everyone
5 in the audience here and listening remotely can hear you.

6 Now to get back to more welcome and purpose from
7 our state leadership, Commissioner Peterman, I'll hand it
8 off to you.

9 COMMISSION PETERMAN: Good morning. Thank you,
10 Noel.

11 Good morning everyone. I don't know about you,
12 but the excitement of the morning has only heightened my
13 anticipation for the day's activities.

14 For those of you on the line, we were in a smaller
15 room. And so people were bursting at the scenes. People
16 were waiting to get into the room to talk about
17 communication standards. And I hope that that excitement
18 persists, not only through today's workshop, but through the
19 various proceedings and forums our different commissions and
20 entities have in 2017.

21 Most of you are aware that in September, I issued
22 a ruling providing direction to the investor-owned utilities
23 regarding what to file in their transportation and
24 electrification plans as a part of SB 350. One of the
25 things included in that ruling was our staff recommendation

1 that the utilities describe how their infrastructure
2 investments will align with ISO 15118 standard, or what,
3 otherwise, what would be an appropriate communication
4 standard or protocol to utilize or to associate with their
5 investments.

6 Since I issued that ruling in September, there has
7 been a tremendous amount of interest, not only in what is
8 going to happen in the plans, but particularly around what
9 we're going to do around standards. And understandably,
10 there are a diversity of views from expert people. And I
11 look forward to having the conversation with all of you over
12 the next several months about what we should be doing in the
13 upcoming plans, as well as a long-term, how as a state
14 should we be organizing to think about the value of
15 communication standards, particularly for promoting vehicle-
16 grid integration.

17 There are some who feel it's too early to be
18 having this conversation, and that we should not be further
19 exploring putting these requirements in place. I disagree
20 with that perspective for two reasons.

21 One, we have clear direction from our legislature
22 and our governor to scale and make mainstream transportation
23 and electrification. If we're going to have infrastructure
24 for a million vehicles on the road in 2020, that
25 infrastructure needs to be so that it can provide all of the

1 services we want from electric vehicles, not only those
2 services that we can identify in the next year, but those
3 services that we're going to want in ten years.

4 Those of us who work in renewables have spent a
5 considerable amount the last few years figuring out how to
6 improve, for example, distributed solar generation so that
7 it can meet our system needs and support the grid. Think
8 about how nice it would have been if we had done all the
9 work on smart inverters and interconnection and ancillary
10 services with DG before the systems were deployed. I want
11 to avoid that here with transportation electrification. If
12 we know what we want these vehicles to do in the longer
13 term, let's start talking about what are the protocols that
14 can make that happen.

15 The second reason we need to act now is that
16 California has and will continue to be a leader in this
17 space. Yes, it would be nice if every country in every
18 state was deploying electric vehicles at the same amount and
19 rate that California is, but they're not. And so we do want
20 to be consistent with what's happening internationally but,
21 also, we're going to need to lead. And so if we do think
22 that there are some benefits to standardization, I think
23 this is the place to implement those practices.

24 I fully appreciate that before we pursue vehicle-
25 grid integration with earnest, we need to have the vehicles

1 and the products in place, and there are investments that
2 are happening all over the state to ensure that.

3 What I'm looking for today in the workshop, I'm
4 looking to understand, what is the VGI product that we're
5 working towards? How do communication standards help us
6 better access? If it is premature for standards, then what
7 types of steps do we need to be taking to position us to
8 better understand when those will be needed.

9 This conversation will extend beyond today. At
10 our Commission, it will be in 2017. But I tell you, we're
11 going to be making rulings and decision related to this
12 topic sometime in 2017. So I appreciate everyone rolling up
13 their sleeves and doing the hard work to position us to be
14 at the front of this movement.

15 Thank you.

16 MR. CRISOSTOMO: And now standing in for Cliff
17 Rechtschaffen, Tyson Eckerle from the Office of Governor
18 Brown.

19 MR. ECKERLE: Thanks very much, Noel. And I'll
20 keep my remarks brief because of, well, the excitement of
21 the morning, for one.

22 But really, we're here because this is really --
23 this is important. And we thank everybody for making time
24 to come up and share their day with us to talk about the VGI
25 and communications standards. If we get this right, I mean,

1 it really has the potential to open up the market. It can,
2 you know, marry our increasingly clean grid to
3 transportation. I think there's a tremendous amount of
4 opportunity there.

5 And we really want to commend the Public Utilities
6 Commission for advancing this conversation. I think that
7 Appendix B really kind of forced us to get in the room
8 together and really talk this through. And I think we've
9 been talking to a lot of people in the lead-up, and I think
10 there are lots of different opinions. And I think we're
11 very eager to hear those opinions and figure out how we can
12 work together to get to those optimal solutions. And I
13 think there might not be just one solution, and I think
14 that's part of the excitement of it.

15 Thanks to the Energy Commission for organizing the
16 day. And really, as we look forward, California being the
17 largest plug-in electric vehicle market or zero-emission
18 vehicle market, we have the opportunity to set the course.
19 And so I think it's really important that we work together
20 to get this right.

21 And we need you, the stakeholders, to help make
22 sure that we have the right people in the conversation with
23 this, and I think that's really important, so we'll be
24 looking to you to do that. And I think I'm imagining a lot
25 of the people are in the room, but there are probably some

1 people who aren't in the room that we need to make sure we
2 bring in. And I think today underscores the importance of
3 working with all stakeholders. You get all the voices in
4 there and really set the groundwork and framework for how we
5 can make VGI be a critical and important piece of our
6 transition to a fully zero-emission vehicle fleet.

7 And so I'm very much looking forward to the
8 conversation. And thank you, again, to the agencies and to
9 everybody here whose shared their time with us. I'm looking
10 forward to it.

11 MR. CRISOSTOMO: And substituting for Commissioner
12 Scott, who has an alternative appointment, we have Matt
13 Coldwell from the Commissioner's Office

14 MR. COLDWELL: Thank you, Noel.

15 So Commissioner Scott sends her apologies for not
16 being able to be here today. And so I'm going to be just
17 really extremely brief.

18 So she asked me just to convey that as the Lead on
19 Transportation here at the Energy Commission, today's topic
20 is of great interest to our office. And so we're really
21 looking forward to both the discussion that we're going to
22 have today, and then, of course, continued engagement with
23 all the stakeholders moving forward over the next few
24 months. So I appreciate everybody's participation today,
25 and looking forward to a great discussion.

1 Thanks.

2 MR. CRISOSTOMO: So as we transition to
3 California's activities, I'd like to invite my colleagues,
4 Amy, Stephanie and Jill, up to the other three seats, so
5 that we can transition effectively during our separate parts
6 of this presentation.

7 The Energy Commission, Public Utilities
8 Commission, Independent System Operator, and Air Resources
9 Board have been working together for roughly the past three
10 years in implementing research projects, sharing learnings,
11 processes, initiatives, so that we're all on the same page
12 around VGI and what each agency is doing. And this VGI
13 Interagency Working Group is a key element of moving this
14 process forward together to ensure that our products, that
15 we are designing across agency silos, ensure that the market
16 is efficiently moving forward.

17 So I will give context, and Amy will provide an
18 overview of how we got here, describing the PUC's process.
19 But this is what we're hoping to cover during this
20 presentation. We will describe the context and policies to
21 decarbonized transportation in more detail, including SB
22 350, and the imperative for VGI in terms of the dynamics
23 that we have been observing in the market as it is growing.

24 We'll identify how to solve grid challenges, now and in the
25 future, given what we are observing on the system, and

1 explain from the different agencies' perspectives and
2 efforts why VGI is valuable to the State of California.

3 As Commissioner Peterman mentioned and as Amy will
4 detail, one option to consider was proposed in the CPUC's
5 rulemaking to communicate PEV data, which was the ISO 15118
6 protocol. But going forward, we do have continued policy
7 and regulatory needs to seek your feedback so that we can
8 have an informed and timely process to decarbonize our
9 transportation system.

10 So with that, Amy?

11 MS. MESROBIAN: Okay. Thank you everyone. My
12 name is Amy Mesrobian. I'm an analyst with the California
13 Public Utilities Commission. And just in the interest of
14 this being the first workshop on this topic, I just want to
15 provide some regulatory context for why we're here today.

16 So in SB 350 there were some directions to the
17 CPUC and the utilities regarding transportation
18 electrification. And so SB 350 required the CPUC, in
19 consultation with ARB and CEC, to direct the investor-owned
20 utilities that we regulate to file applications for programs
21 and investments in transportation electrification. And so
22 the objectives of all of these applications and investments
23 are to reduce petroleum usage, meet air quality standards,
24 improve public health, and reduce greenhouse gas emissions.
25 And so we'll be looking at all these applications and

1 making sure that they're delivering all of the emissions and
2 grid benefits that they should for the legislation.

3 Can you go to the next slide? Thank you.

4 So once SB 350 was signed, the CPUC started the
5 regulatory process to think about what that meant for us and
6 how we would work with the utilities to do some
7 implementation. So we began our public process in March of
8 2016. We continued with a workshop, which I'm sure many of
9 you were at, and also got a lot of public comments. And
10 through that process we heard from a few folks on the issue
11 of vehicle-grid integration standards.

12 And as Commissioner Peterman mentioned --
13 actually, can you go to the next slide -- in her ruling from
14 September, she discussed the issue of vehicle-grid
15 communication standards, but also acknowledge the fact that
16 the record that we had to date that was comprised of party
17 comments, there really wasn't enough information in the
18 record to make a decision one way or another, if we need to
19 adopt one or any standards to help support vehicle-grid
20 integration. And so the ruling asked for the utilities to
21 talk about how they would meet the ISO 15118 standard, or to
22 propose some alternative recommendation for delivering VGI
23 value.

24 And, so sorry, can you go back a slide? Okay.

25 So for 2017, we're anticipating -- or the

1 utilities will be filing applications, starting next month.

2 And as we review these applications, we also want to think
3 about how we can consider this issue of a VGI communications
4 protocol as we're reviewing all of these utility
5 applications. And so the ruling called for some information
6 in the applications to talk about a possible communications
7 protocol.

8 But we also want to think about what's really the
9 best way to get all of this technical information into our
10 record. How do we have all the discussion? How do we
11 include all of the stakeholders that we need to include in
12 this conversation?

13 So one idea that I want to share from the CPUC for
14 feedback from all of you today is the idea of doing a
15 working group around vehicle-grid integration communication
16 standards or communications protocols. And the objective of
17 the working group would basically be to have, you know, a
18 narrow set of objectives. And the working group would help
19 talk about which, if any, standards the CPUC and other state
20 agencies should adopt to support VGI and maximize the
21 benefits that IOU and other state investments bring in
22 transportation electrification.

23 So we thought the workgroup might be a good idea
24 because it could run in parallel to our regulatory process,
25 but it could really allow people just the time to dive deep

1 into this issue because it is really technical. I can just
2 say for myself, I'm just starting to learn about it, and I
3 think a lot of people are in the same situation, as well.

4 So that's something that I'm hoping that we can
5 get your feedback on throughout the day, if that seems like
6 a viable alternative, and if that's something you'd like us
7 to pursue as we work with the other agencies on this issue.

8 And so, yeah, that's the main thing that I wanted
9 to convey, just that this is -- we see this as the starting
10 point of the discussion. And we'd like to make sure we have
11 the appropriate vehicle to continue the conversations that
12 you all think need to happen.

13 COMMISSION PETERMAN: Let me just add one
14 additional comment, Amy. Thank you for your thinking on
15 this topic.

16 With regards to a working group, I am interested
17 in how we can structure a working group and make the focus
18 so that it can inform decisions we're going to issue in 2017
19 regarding the first transportation electrification plans.
20 So there's still that guidance which still persists that's
21 in the ruling.

22 But the idea of the working group as a mechanism
23 to further assist our understanding to be able to evaluate
24 what comes before us, as well as to consider issues that may
25 not be brought up by the parties that typically weigh in to

1 our more adversarially-natured proceedings, but again, to be
2 structured.

3 Thank you, Amy.

4 MR. CRISOSTOMO: So to ground all of that action
5 in 2017 in a distinct time frame, in a structured manner,
6 I'd like to remind everyone what transportation
7 electrification is meant to accomplish.

8 During COP 22, California reaffirmed its
9 commitment under its Coalition for Under Two Degrees to do
10 its part to mitigate climate change. Recently passed laws,
11 like SB 32 and AB 197, require the state to reduce its
12 emissions 40 percent below 1990 levels by 2030, and on the
13 way to 80 percent by 2050, as referenced in SB 350, and to
14 protect our disadvantaged communities from the impacts of
15 climate change that are already in the pipeline.

16 We are already observing unprecedented losses in
17 our forests, record-breaking temperatures, and potential
18 instability of our cryosphere. So we do have to act and
19 take a leadership position.

20 VGI takes this challenge head on with a dual-
21 purpose technology. It enables customers' mobility to
22 become an integration resource by intelligently managing and
23 charging -- managing charging to smooth the variability in
24 renewable generators, while also avoiding the need to harden
25 our grid.

1 I'm referencing three point -- three key reports
2 here.

3 First, the VGI Roadmap, which was published
4 shortly after the PUC launched its 2013 rulemaking directing
5 the utilities to help facilitate this technology.

6 Safeguarding California, which in 2015 set goals
7 for the transport and electricity sectors to use automated
8 and modernized data to protect our vehicle and
9 infrastructure systems from climate change.

10 And third, last October the Governor's Office
11 updated the ZEV Action Plan and tasked our agencies to
12 specifically, one, ensure technology research is coordinated
13 with the development of standards, procurement policies and
14 tariffs, two, to ensure vehicle interactions with the energy
15 system are harmonized across utility territories, and three,
16 to ensure that ratepayer investments return maximum benefits
17 to our grid.

18 Last November the PUC continued its work on AB 327
19 which defines EVs as a distributed energy resource, and put
20 AB 327's efforts in context of its other proceedings.

21 The DER Action Plan sets a vision for wholesale
22 market integration of DERs, including electric vehicles,
23 where charging and mobility behaviors can be predicted and
24 overseen within grid operations, and to ensure that market
25 rules solving resource registration, utility interconnection

1 procedures and physical connectivity, given that these
2 resources are ultimately mobile and moving across power
3 systems, to remove those barriers and to ensure that
4 vehicles can participate in grid services freely. The key
5 to achieving this vision is bringing the learnings from our
6 research investments into policy.

7 Why is this critical now?

8 VGI is needed as policies are -- agency policies
9 are being reinforced by market innovation. And we don't
10 really know how widespread electrification could be adopted.

11 On one hand, CARB's Cleaner Technologies and Fuel Scenario,
12 which is the closest proxy for SB 350 and SB 32 compliance,
13 estimates that by 2030 there will be around 4 million ZEVs
14 and PHEVs, which is pretty much 16-fold compared to where we
15 are right now.

16 But in a different study, by that time, Bloomberg
17 & McKinsey identified that mutually-reinforcing advancements
18 of batteries, the internet of things, urbanization, and the
19 growth in mobility-as-a-service could have fleets in certain
20 areas, two-thirds electric vehicles and 40 percent
21 autonomous.

22 These trends require California to be proactive in
23 ensuring that the infrastructure that we deploy, especially
24 in areas of high demand, and could be -- to be responsive to
25 unexpectedly large loads. We don't want to hinder

1 reliability and prematurely require grid hardening. And so
2 critical to this is solving our supply constraints with
3 customers mobility needs.

4 The EV manufacturers, charging providers, and
5 utility companies have responded to the state's call to
6 action in pursuit of the ZEV goal. Each of these actors,
7 utilities, automakers, and charging providers, are critical
8 to achieving the optimization at scale, principally because
9 everyone has different competencies and data that they
10 collect, and therefore insight on that information which
11 form the lifeblood of their operations. Utilities know how
12 the grid works. Automakers know how cars operate--they
13 create endearing and evolving customer experiences by
14 serving them upgrades periodically. Third, charging
15 providers analyze how their networks function, and keep them
16 online and reliable.

17 One common thread throughout these actors is their
18 ability and potential to indirectly or directly control
19 vehicle charging.

20 In my observations in the market, however, this
21 common potential for load control is causing these actors to
22 compete for what a former colleague and I termed "the
23 resource" in the VGI White Paper from the CPUC. This
24 resource is getting pulled apart by efforts by every one of
25 these entities. However, the competition that we're seeing

1 potentially is not appropriate, because EV charging does not
2 exhibit the characteristics of a perfectly competitive
3 market, especially amongst these three actors.

4 To generalize, these actors, in some parts, in
5 some manners are disincentivized from sharing this data.
6 However, harmonizing their individual data sets is very
7 important because solving for that optimization of grid
8 needs, customer needs, and network operations is incomplete
9 without all three.

10 What has occurred is potentially a fragmentation
11 of the actors' objectives that we have described in the
12 White Paper. Technologies have been developed that, if
13 implemented incorrectly, have the potential to risk
14 customers' mobility. For example, vehicle and charging
15 station emulators, EVSEs that can override proprietary
16 automotive telematics, and algorithms requiring end state of
17 charge as a user input without asking for the requisite
18 information on their battery size. That is extremely
19 concerning.

20 And so we have two options potentially at this
21 point. Two pathways: a vicious one or a virtuous one. We
22 want to head to Destination B where we have eager and
23 renewably charged electric vehicles with VGI-ready vehicles
24 and charging stations that are scalable and resilient to
25 changes in technology.

1 In order to provide this pathway, in Appendix B
2 the Energy Division provided 11 criteria for standards, and
3 we'll be discussing these in detail throughout the day and
4 in the next slides. I won't reiterate every one of them
5 here, but I'll focus on scalability at different parts of
6 the grid.

7 We know that renewables are requiring more
8 flexibility. But an interesting point that I've read
9 recently was that the duck has hatched potentially sooner
10 than expected, and it's bigger than we expected, than the
11 ISO expected.

12 In 2016, March, the net load was 14 gigawatts,
13 which approximated the CAISO's estimate in March 2017. The
14 minimum net load decreased roughly 25 percent between 2011
15 and 2015, increasing over-generation risk. Afternoon ramps
16 are getting steeper. And the number of days of a four
17 gigawatt ramp quadrupled between 2011 and 2015. The maximum
18 ramp during that time frame increased 61 percent.

19 Day-to-day operations are changing. The average
20 weekend three-hour ramp is ten percent steeper than those
21 during the weekdays. Further, these are changing operations
22 year-round, not just during the spring when the curves were
23 anticipated.

24 Lastly, the analysis found that managing the ramps
25 required large enough resources to be visible, and

1 participating at the system level.

2 This is kind of a telescoping figure that goes
3 into the different levels of the grid that we have to be
4 optimizing for. At the ISO's sub-lab level, given
5 generators around, we can see that, kind of understandably,
6 solar plants are causing the highest amounts of over-
7 generation and causing negative pricing.

8 If we go down deeper, at the distribution level in
9 PG&E's territory with their DRP analysis of integration
10 capacity, you can click down to a feeder and see their
11 estimates of integration capacity for vehicles could
12 increase almost nine times by using an EV-specific time-of-
13 use rate. But the challenge here is that system needs often
14 conflict from distribution needs. And while the PUC is
15 working on changing time-of-use rates to reflect wholesale
16 system operations better, those -- that alignment is key but
17 isn't sufficient for vehicles at scale.

18 As we transition to default time-of-use rates for
19 those investor-owned utility customers by 2019, TOU rates
20 that are designed for entire customer classes are not
21 scalable. First, consider that less than 40 percent of the
22 250,000 EV drivers use TOU rates. If they all plug in a
23 three kilowatt charger as soon as they arrive home, these
24 vehicles could be exacerbating the ramp that is continuing
25 to steepen, estimating maybe 450 megawatts of chargers on

1 peak today.

2 In terms of the wholesale-retail rate alignment,
3 customer-class TOU rates will simply shift the power
4 delivery constraint from system generation to local
5 distribution. And while line and service upgrades that are
6 needed estimate less than a quarter of one percent of EV
7 drivers today, we have to address the local transformer
8 constraint.

9 With flat or declining residential peak demand,
10 given that EVs are adopted in clusters, these charging loads
11 might overwhelm the freed capacity of the declining
12 residential load. Singly-metered PEV customers have
13 increased 1.1 kilowatts over five years, and that's a trend
14 that will likely continue as automakers deploy higher power
15 chargers.

16 So given that the grid is seeing different needs,
17 we need to understand how the value of VGI is changing. And
18 understandably, these evolving markets potentially pose
19 risks to the actors. A variety of institutes and
20 consultants have come up with VGI evaluations to assess the
21 current market. But it is exactly -- it is difficult to
22 exactly quantify the value of marginal technology
23 investments, due to the dynamics of different domains.

24 So furthermore, new markets, maybe at the
25 distribution level, have up to this point necessarily

1 required long regulatory processes which cause uncertainty
2 in decision making. However, I'd like us to focus today
3 during our discussions on the strengths and opportunities
4 that we can take advantage of to avoid stagnation.

5 First, how can we leverage the thesis of VGI,
6 which ultimately is a dual purpose to carbonization tool, to
7 achieve net benefits for the state?

8 Second, how are technologies, power technologies
9 critical to VGI, changing in costs?

10 Third, do automakers' strategies and investments
11 in stationary storage face similar risk? And what is
12 motivating them to deploy stationary storage?

13 And fourth, what are the general trends and value
14 related to location and speed or delivery of wholesale and
15 distribution grid services? And what are the technical
16 equipment validation and other requirements that we can
17 identify today and move forward on?

18 To illustrate the point of how California values
19 VGI beyond the value of grid services, this is an
20 illustration of almost a dozen agencies working together to
21 gather ZEV data. I won't read through all these here
22 because we've docketed this presentation, but it ranges from
23 charging authentication, low-carbon fuel standard credits,
24 planning for infrastructure, load forecasting and grid
25 planning, ultimately allocating costs of construction to

1 electric vehicles, given that we can't live off of the gas
2 tax forever, and it goes on and on. But there are greater
3 values for this data than just grid services to the state.

4 And to provide examples, I'll head to Stephanie
5 and Jill to talk about ARB and CAISO's efforts.

6 MS. PALMER: Hi. I'm Stephanie, and I'm here
7 today to talk about Senate Bill 454, also known as Electric
8 Vehicle Charging Open Access Act. This Senate Bill deals
9 with how users interact with the charging stations and their
10 vehicles to transfer billing information. It was signed in
11 2013, and it states that if no national standards were
12 adopted by January 1, 2015, ARB has the ability to adopt a
13 national standard to set up these four requirements. One,
14 all publicly available EDSCs, you can access, regardless of
15 being a member. Two, all fees must be disclosed at the time
16 of sale, including plug-in extra charges, along with the
17 kilowatt hour charge, multiple forms of payments methods,
18 including credit card and mobile technology, and the
19 location and payment information per site will be
20 transferred to NREL.

21 Next slide.

22 So how are we -- what is our timeline?

23 Currently, we are interacting with network
24 providers and EDSEs' manufacturers to see what the market is
25 at right now and how are users today interacting with the

1 charging stations. We are establishing working
2 relationships, and we look forward to convening workgroups
3 to discuss this further. And we are going to be pursuing a
4 regulatory approach because it will help us structure all
5 the needed documents and guidance materials we will need to
6 implement SB 454. Thank you.

7 MR. CRISOSTOMO: Thanks, Stephanie.

8 MS. POWERS: Okay. Hello. I'm with the
9 California ISO's Smart Grid Technologies and Strategies
10 Group. And I would like to thank Noel for really laying out
11 and highlighting the evolving reliability issues that the
12 ISO faces, and the need to have these types of operational
13 tools to mitigate these operational issues that we believe
14 we're going to face, and really wanting to have those
15 operational tools to be within the market and to resolve
16 them through the markets.

17 So we're very excited about this interagency
18 workshop and the work that's being done on standards,
19 because the ISO is very supportive of standards that would
20 help facilitate and enable electric vehicles to participate
21 and provide in-grid services. Some of those grid services
22 can be provided through economic market dispatch. This
23 would require standards that would provide scalability to
24 the level of participation that is required to participate
25 in the markets, also to provide capabilities for control.

1 We have our day-ahead markets that would only be providing a
2 24-hour notification and hourly participation.

3 But then we also are looking for that real-time
4 market participation where notification could be only up to
5 five minutes notification, and response to be modulated
6 every five minutes. So we're really looking for these fleet
7 control capabilities for the availability of this capacity
8 to respond to ISO dispatch.

9 We're also looking for the provision of ancillary
10 services. This would require telemetry, visibility of the
11 capacity that we have available for these services. So that
12 is one thing that the standards might be able to affect and
13 effectively facilitate.

14
15 Also, we have opportunities in the markets for
16 response of -- frequency response through our automated
17 generator control markets through our regulation markets.
18 However, we're also looking at these standards as
19 potentially providing autonomous response for frequency.
20 Okay.

21 So the ISO has been evolving policy, as well as
22 market-participation models, to reduce the costs of
23 participation and recognized capabilities of advanced
24 technologies, electric vehicles being one of those. So for
25 the past several years we've been looking at our

1 requirements, requirements in things such as metering and
2 telemetry, and working on expanding those options for
3 meeting those requirements, as well as we've been working in
4 the last couple of years, throughout 2015-16, on expanding
5 metering telemetry options that created a distributed energy
6 resource provider framework. And this allowed for the
7 aggregation of distributed energy resources.

8 Most recently, we've been working in energy
9 storage, and also, again, advancing enhancements to our
10 modeling capabilities for distributed energy resources and
11 how we measure and evaluate these distributed energy
12 resources through our energy storage, we call it our ESDER
13 initiatives, which we completed in 2015 under Phase 1. It
14 was implemented in 2016. And now we are moving forward on
15 further advancement of these policies in ESDER Phase 2,
16 which will be looking for implementation in 2017.

17 I did want to highlight that most recently the
18 Federal Energy Regulatory Commission has extended concepts
19 from the ISO's Discharge Energy Resource Provider
20 Initiative. And they're extending this nationally in a
21 recent issuing of NOPER (phonetic), making this a
22 requirement for other ISOs and RTOs. So we've really set
23 out a framework that is being looked at nationally to
24 facilitate participation of distributed energy resources.

25 MR. CRISOSTOMO: Thank you, Jill.

1 And so as California starts to proliferate its
2 ideas nationally, I think it's also important to realize
3 that while we're at the head of the spear, there are ample
4 opportunities to learn from international efforts.

5 Consistent with Governor Brown's calls in his
6 release -- in the announcement about the Scoping Plan, he
7 reiterated points "to scale" and the need for "broadening
8 collaboration", where California can build its policies upon
9 the learnings from other PEV markets throughout the world,
10 as they've faced similar grid reliability problems due to
11 renewables and interface problems in charging
12 infrastructure. So as appropriate and conformable,
13 California can scale based on others' experiences and best
14 ideas, as identified by the ZEV Alliance in terms of policy
15 principles and technologies.

16 There are three examples here that you can read
17 more in depth about in the links below. But there is a
18 base of intellectual knowledge that we should be jumping off
19 from.

20 An example of this is the European Union's Seventh
21 Framework Programme for electric vehicles. And there are at
22 least 21 relevant and recent policy, technology and economic
23 assessments just on vehicle grid integration. This table
24 has links that I encourage people to explore, as we start
25 off on this path. And critically, there are some examples

1 of analyses across different scenarios, conservative,
2 pragmatic, advanced, looking at the appropriate technologies
3 across the different domains that Frances and our other
4 experts will be talking about today, and economic
5 assessments of the value of investments.

6 So one example from Europe's PlanGridEV study was
7 that for roughly less, a little bit less investment, a smart
8 grid could integrate more renewables cheaply and be operated
9 more cheaply.

10 One option that was identified in the PUC's
11 Appendix B was the ISO standard, which was developed jointly
12 over multiple years at the ISO and IEC. And I'm sure many
13 of you have been engaged in this process. It utilizes a
14 consensus-based negotiation of numerous global expert
15 stakeholders. And it continues to evolve to potentially
16 enable future use cases, like V2G, wireless chargers, and
17 bus chargers. It is embedded and is based off the Combined
18 Charging Standard, which is widely supported by many
19 automakers.

20 To put IEC 15118 in the context of California's
21 DER system, I'm stealing a slide from Frances which she will
22 elaborate upon later. But Rule 21 reform, which was the
23 purpose of the Smart Inverter Working Group, covered these
24 three bolts: between the utilities' DER controller to the
25 DER, a facilities load management system, or an aggregator's

1 load management system. 15118 establishes the DER as this
2 connection of the charger and the car. And there are other
3 standards that exist in this realm, including OCPP, which is
4 Bolt 5, which is in development, and SEP 2 which is the
5 default communications protocol for Rule 21.

6 And so as we look forward, we need to critically
7 ask, how should California protect its scaled seven
8 investments?

9 This is an example of all the accomplishments that
10 we've had in the past three years and the criticality to act
11 now. As we're working together to inform the utility
12 applications and other investments, we have to understand
13 that in the next several years there are two major forces.
14 First, potentially the release of many vehicle models, both
15 battery and plug-in hybrid by the automakers. And the
16 utilities will be embarking upon, potentially on the high
17 side, five-year infrastructure deployments under SB 350.
18 This doesn't have -- we don't have a lot of time between now
19 and our pretty challenging goals to reduce NOx emissions in
20 the South Coast 80 percent by 2023. And as we go forward
21 with higher renewable power goals and in the interim, the
22 deployment of 1.5 million ZEVs, now is the best time to act.

23 And so in closing, we're requesting your feedback
24 on how we can progress on VGI. California's energy and
25 environmental agencies could act to provide a consistent

1 market signal that prioritizes the protection of the state's
2 investments. We're responsible for ensuring that
3 technologies employed in our vehicles work harmoniously
4 across service territories, while ensuring that wasteful and
5 uneconomic energy consumption is avoided. We can achieve
6 our vision for integrated zero-emissions transportation.
7 And we think that standardization in concert with other
8 efforts could be utilized as an accelerant to the adoption
9 of electric vehicles by establishing interoperability,
10 improving competition, decreasing costs, and simplifying the
11 customer experience.

12 So in closing, we welcome your ideas and want to
13 ask, how do we electrify transportation with a grid-
14 integrated infrastructure by 2020?

15 And we'll have around ten minutes for feedback.

16 No feedback? Yeah.

17 (Off mike.) All right. I'll bite.

18 MR. CRISOSTOMO: So just raise your hand, I'll
19 identify you. So Steve, Anne, and then Urvi.

20 Go ahead. So please stand up and -- yeah.

21 MR. DAVIS: Is this on? Okay. Yes, my name is
22 Steve Davis. I'm the Founder of KnGRID.

23 And to Noel's point, you know, there's an old
24 riddle that Boone Pickens likes to ask, and he says, "When
25 is the best time to plant a tree?" And the answer is 20

1 years ago.

2 We have been engaged in this discussion about
3 standards, with all due respect to Amy, that this is not the
4 beginning. We have been engaged in this discussion for
5 years now. And the way that we can, I believe -- I've got a
6 lot of friends from the OEM community here in the room, and
7 I know them and we talk a lot. And after 6:30 we're all
8 friends, but we do have some debates and discussions about
9 these things.

10 A common unique standard -- and, Carla, I think we
11 were in this very room two-and-a-half years ago, having this
12 very conversation -- a common unique standard is how you get
13 it done. And it sends the OEMs what they desperately need,
14 which is a market signal of what to build.

15 I think you were wise in your ruling, and your
16 subsequent ratification of that ruling to a decision, in the
17 sense that what you did is you created a market signal that
18 is uncontroversial. If we look at the comments of the
19 parties in that rule-making proceeding, that was the common
20 thread, ISO 15118, that we saw. There may be some
21 frustration from some of the OEMs that that ends up being
22 the ruling. I think that's a minority group of OEMs. I
23 think the majority is already implementing 15118 for DC fast
24 charging. So we should -- I don't want to blow all the
25 thunder for the presentation I'm going to make later. But

1 ISO 15118 supports the CCS standard for DC fast charging
2 already. And the OEMs are by and large, the vast majority
3 of them are implementing that standard.

4 So it's a pretty short throw for AC Level 2 smart
5 charging because it uses the very same communications
6 software stack, as well as repurposes the PLC modem that's
7 already on the vehicle. I'll flesh this out a little bit
8 more.

9 But there's a joke about standards, too. The
10 great thing about standards is there's so many of them.
11 That's the worst thing we can have, is more fragmentation.
12 And I'll give you a quick example.

13 Suppose I am lucky enough to buy a Mercedes B-
14 Class electric vehicle. I don't have one of those. They're
15 a little out of my range. But then I drive to my uncle's
16 house, and he's really wealthy and he's got a Tesla. I need
17 to refuel. I can't use his charging station. And there we
18 have a perfect distillation of let a thousand flowers bloom
19 and not get right with the essential ingredient in broad
20 adoption of electric vehicles, which is to simplify that.
21 One question, whenever I talk to somebody contemplating an
22 electric car, I get -- the same thing comes back to me every
23 single time, well how do I refuel? How does this happen?

24 So that's what I would say as to how we can
25 accelerate is to send that market signal, make it clear. I

1 think that my OEM friends that get allergic about this kind
2 of thing will say just let the point of regulation be the
3 charging station. Please don't force us to do anything.
4 Let us do it at our pace.

5 Thank you.

6 MS. SMART: Hi. Anne Smart with ChargePoint.

7 The slide that you had up on Rule 21, could you
8 clarify some of that process? It's been very difficult for
9 us in the industry to track these Smart Inverter Working
10 Group, given that the charging station section has come in
11 and out of proposed scopes in the various phases. So we've
12 participated in meetings and then been told that it's not in
13 the scope. And so we stop, and then it gets back in the
14 scope.

15 So it would be helpful to understand, particularly
16 the -- you reference, I think, the number three bolt and the
17 number five bolt, what is established and what is still in
18 the process as it relates to today?

19 Thanks.

20 MR. CRISOSTOMO: So I'll defer to Frances to
21 answer that question, maybe during the afternoon. But just
22 as I understand it, and I'm still getting up to speed on the
23 Smart Inverter Working Group, Rule 21 exists in these three
24 bolts, so IEEE 2030.5 defines the default communications
25 protocol in these three areas between the utility comms with

1 the aggregators comms, a facilities comms, and the DER's
2 comms. So that's the realm of 2030.5.

3 But the proposal from Energy Division was in a
4 different document, Bolt 12, which defined a connection
5 between the DER -- the EV DER, between the charging
6 equipment and the vehicle itself. But this Bolt 5, which is
7 referenced for OCPP, and this is grayed out because it's
8 still an unofficial standard, is an example of how a
9 charging station could go back to a backend of an aggregator
10 or a charging network. Frances can elaborate upon this in
11 the afternoon.

12 Any other questions?

13 And, yes, there will be opportunities to engage
14 with the Smart Inverter Working Group. And we welcome your
15 feedback on how to best order this.

16 MR. BOURTON: My name is Mike Bourton. I'm the
17 Founder of Kitu Systems. And we supply protocols to all
18 parties in this room with respect to what camp they're in.
19 So I don't normally make public comment because I'm a
20 merchant. I sell to anybody, okay?

21 But I've seen a lot of misinformation being placed
22 by all sides in this argument. I don't think they're
23 telling a story that's wrong, they're just defining terms
24 that are wrong. And I think the only -- you're not going to
25 understand what they mean until you put a real expert

1 working group and invite the right parties to that group.

2 So I do support Amy's and CPUC's recommendation of
3 a working group. Because within a working group, those
4 things can come out and we can define the terms correctly,
5 and then we understand what those things mean. So I'm
6 supportive of the working group.

7

8 Thank you.

9 MS. NAGRANI: My name is Urvi Nagrani. I'm with
10 Motive Power Systems.

11 There's just a big gaping hole in the plan, from
12 Motive Power System's perspective, which is namely none of
13 the approaches that are suitable for light-duty vehicles are
14 suitable for medium- and heavy-duty vehicles. And given
15 that we have a Sustainable Freight Action Plan, and given
16 that we have a ZEV Incentive Program that is for these
17 heavy-duty vehicles, we are beginning to put heavier and
18 heavier-duty vehicles on the road. And for example, an
19 electric refuse truck with 200 kilowatt hours onboard, if
20 you put five of those you've got a megawatt putting onto the
21 grid, and a problem that the utility just doesn't have a
22 tool to help with.

23 Those early-stage customers come in as vehicle
24 operators, as fleet operators, who have never had to deal
25 with anything related to your work. So decades of

1 experience that you have put in, all of the roads you have
2 built in the light-duty sector, that is very relevant on the
3 light-duty side. But for the early-stage customer who knows
4 operations and operations only, what they see is I don't
5 know the rate, I don't know the impact to the grid, I don't
6 know how much it's going to cost me to put the
7 infrastructure in.

8 Every charger is going to cost me more and more
9 because of the increased needs of substations. There is no
10 one person who can give me an answer. Every utility has a
11 different problem. And at the same time, the benefits for
12 this VGI are distributed amongst the entire community, but
13 the cost for this VGI is borne by me, the customer, who has
14 a vehicle in that I'm using more and more cycles on my
15 batteries, and I'm going to void my warranty faster.

16 Until we have a plan that has a way of engaging
17 fleet stakeholders, compensating them for the degradation of
18 batteries on their vehicles, and where the utilities who are
19 already working on compliance plans can bring their
20 expertise in a way that is accessible for a layperson,
21 you're not going to actually get integration because a fleet
22 is going to look at it and say there's a potential for a
23 little bit of money and a hell of a lot of headache. Just
24 the labor involved to participate is a barrier to entry.

25 So I would urge all of the agencies to think about

1 how we can think of usability as a barrier to entry.
2 Because if we are trying to put more and more of these
3 vehicles in disadvantaged communities, they do not have the
4 depth of expertise on the legislative processes that you are
5 proposing.

6 Independently from that, as a layperson who
7 happens to drive an electric vehicle, I would caution you
8 from requiring a network charger. Because, for example, if
9 I'm going home from Oakland to SF and I need some extra
10 charge, I pull over on Treasure Island. There are three
11 chargers. There is one that works. The other two
12 theoretically work. But if you put your little ChargePoint
13 charger thing on there, the network always goes down, it
14 crashes. The network to the charger is actually a barrier
15 to entry in some locations.

16 So if you are going to require network chargers,
17 you should also require network signal necessary to support
18 them. Because the lack of data signal on those sites
19 becomes great. You have a charger and you have the ability
20 for one car to charge instead of three. But you already
21 paid \$4,000 per station for each of these vehicles.

22 So I would just urge you to think about the
23 usability on the user side of both the fleet and the
24 consumer as fundamentally different cases where it does need
25 to be simplified.

1 Thank you for your time.

2 COMMISSION PETERMAN: (Off mike.) Nice set of
3 comments.

4 MR. CRISOSTOMO: So that's about ten minutes of
5 public comment.

6 Seeing no other hands, Adam, you'll be the last
7 one before we transition.

8 MR. LANGTON: Hi. Adam Langton, BMW North
9 America.

10 I just wanted to address, I think one of the
11 assumptions I think I'm hearing here is that there is --
12 that if we do have a single standard and if we're using that
13 single standard, that that's the primary barrier we're
14 facing here. And I don't think it's the primary barrier to
15 getting grid services from vehicles. I think that even if
16 we were all using the same standard right now, we still have
17 a question of what's the contractual pathway to actually
18 getting those services into the market? And then what's the
19 defined revenue from those services?

20 And so I think where we need to spend some effort
21 is addressing those questions. And part of addressing those
22 is thinking about what the use cases that we're actually
23 going to perform are. And when we identify those use cases
24 we'll be able to identify what communication is actually
25 required to make this happen. So that would be the pathway

1 that I would suggest.

2 The issue of fragmentation was raised,
3 fragmentation between the different networks and the
4 different entities. That does exist, but it's not as if we
5 are blocking each other from accessing the services. It's
6 not as if the OEMs are blocking the charging stations or the
7 charging stations are blocking the OEMs. That's not
8 happening right now. If that was happening, then we'd say,
9 okay, we need to step in and intervene. It's not happening
10 because we don't have a pathway to access revenue from those
11 services. So to me, that's the real big barrier that we
12 should be addressing.

13 So what I think the state should be focusing is
14 not on the how, which is what the communication standards
15 are about, but on the what, what is that the state wants us,
16 all these stakeholders, to do and tell us that, and then we
17 can figure out the how on this and work with you guys to
18 figure out the how.

19 I'm speaking later, so I'll stop now. But thank
20 you.

21 MR. CRISOSTOMO: If there aren't any other
22 questions, I'd like to thank our agency staff, and
23 transition to our next panel and presenters with approaches
24 to vehicle-grid integration with Sunil Chhaya from EPRI,
25 Rich Scholer from Fiat/Chrysler, Adam from BMW North

1 America, and Dave McCreadie from Ford.

2 And so, Sunil, let me transition onto your slides.

3 You can come up here or, yeah, or you can sit there.

4 That's fine.

5 MR. CHHAYA: So very briefly, we're talking about
6 standards and technologies, so let me give you a little bit
7 of background on myself, so appeal to authority; right?

8 So I'll start with I started the day that I was
9 told at General Motors that EV 1 was going to be a
10 production program, so that was back in '95. So I spent
11 about the first part of my career doing everything on the
12 cars that's required to make the electric vehicles work on
13 the powertrain side and hybrid vehicles. So my sympathies
14 are always -- I can empathize with the car industry when
15 they talk about challenges and opportunities.

16 And then for the last eight or nine years, I have
17 been with EPRI, leading the grid integration efforts around
18 standards-based. So we have got about one, two, three,
19 four, five, so I've got about five OEM programs. We have
20 got fleet vehicles, about 350 vehicles that is running
21 around today are more or less -- that have standards-based
22 activities -- standards-based technology on vehicles and off
23 vehicles. So we've been working on improvement in these
24 standards.

25 And lastly, I was disappointed to not find the SAE

1 activities that Rich is going to talk about referenced here.

2 There has been, for the last seven or eight years, a
3 concerted effort with the Society of Automotive Engineers to
4 look at AC charging communications. That was not
5 referenced. So Rich will get everybody up to speed very
6 quickly.

7 Now let me go through the slides that I have.

8 So I was also -- the other thing is that I was
9 heartened to see this additional fair (phonetic) working
10 group, because that is exactly the gist of my remarks today,
11 so let's get on with it.

12 Do I have the remote or I don't?

13 MR. CRISOSTOMO: I will control it from here.

14 MR. CHHAYA: Okay. Please. Go to the next.

15 MR. CRISOSTOMO: Time will start 45 minutes from
16 45.

17 MR. CHHAYA: Yes. Okay.

18 So there are -- you know, so one of the things I
19 wanted to compliment PUC on is that this is definitely --
20 the ACR in September has definitely stimulated goal-oriented
21 activities, so that's good. And a position is a good thing
22 to have because that's the direction that -- so that's
23 always a good thing, a proactive approach. And an approach
24 that we mentioned, it proposes everybody to comply with the
25 requirements. It also talks about the holistic principles

1 that Noel mentioned earlier, 11 principles. And it also
2 invites the IOUs to propose alternative ways to comply with
3 the same.

4 What we are proposing here is a VGI working group,
5 essentially patterned around Rule 21's Smart Inverter
6 Working Group. And it essentially talks about -- it takes
7 on the tasks that Adam was just mentioning which is, first
8 of all, translate the principles into the implementable
9 technical requirements to start -- you know, take the
10 holistic principles which you cannot give to a software
11 engineer and say, here, design a system for me. You know,
12 you're going to say, all right.

13 And against that, we can then talk about qualified
14 standards and other solutions that drag the communications
15 all the way from the utility down to the vehicles.

16 You know, I think that 15118 is great, in fact, in
17 that it specifies communication link between the EVSC and
18 the EV. But you did it without looking to see, how does it
19 impact me, you know, and it's sort of out there. So we want
20 to look at that.

21 And then our hope is that the processing forms, as
22 Commissioner Peterman was mentioning, are related with VGI
23 policy and regulatory rulings, EPRI.

24 And so finally, at EPRI, we will support any
25 outcomes that come in terms of technology and

1 implementation. We cannot advocate for any of this as a
2 501(c)(3). But we'll make sure that they get appropriate
3 diligence and technical foundation so they can implement it.

4 So that is the one side, some of the (indiscernible). But
5 let's just go through the rest of them.

6 So I'm not, of course, going to read of any of
7 these, but Noel mentioned these anyway. So I wanted to
8 first start with what we already know, which are the
9 holistic principles of Appendix B of the ACR that came out.

10 And they've got some really juicy things that we can bite
11 onto.

12 Let's go to the next slide.

13 So we felt that in order for this to be a complete
14 set of holistic principles, we needed to add a few others.

15 One is that if you utilities were going to be
16 managing these as resources, then there is already a
17 precedent set with Smart Inverter Working Group and smart
18 inverters and to go all the way through four stages of VGI
19 implementation, all the way to vehicle to grid, we need to
20 at least be consistent and have some consistency, so that's
21 number one.

22 Number two is that we feel very strongly about
23 cyber security. We wanted to make sure that that was
24 implemented and comprehended in the discussion.

25 Next thing was something that somebody just

1 mentioned here from another company, which is consistency
2 across medium- and heavy-duty. A lot of the SB 350 filings
3 are happening right now around medium- and heavy-duty non-
4 road applications and so forth. We need to at least look at
5 them to see how we cannot close the door on these things.
6 Because I think really utilities need to implement ratepayer
7 from their infrastructure, and we cannot ignore that.

8 Privacy of control conflicts, so this is something
9 around who is in charge. If it's a facility and the
10 customer is participating in the programs for individuals
11 versus facility, who gets to hail the benefits, you know, so
12 we are not giving incentives multiple times? And that will
13 depend on incentives.

14 Extensibility, so future, and I think this was
15 mentioned earlier by Steve, as well, so coexistence and
16 interoperability, that's important because there are going
17 to be a mix of technologies. Whether we want them or not
18 they are going to exist for the foreseeable future. And we
19 need to make sure that we don't get in each other's ways to
20 ultimately dealing with the mobility application for the
21 customer and the grid applications to the grid. So we need
22 to make sure that we comprehend those, even if ultimately
23 the end goal is to move and nudge the industry towards a
24 standardized approach to do things.

25 And, of course, there are some other

1 (indiscernible), things like third-party innovation,
2 customer choice, and competitive marketplace, we need to
3 make sure that those are built into this. And also, reduce
4 the up-front end use cost for site hosting. And customers,
5 you know, cost is very important. So those are kind of the
6 things.

7 And to start off the conceptual discussion, I also
8 wanted to talk about a cell phone analogy. You know, so in
9 my mind, you know, when I looked at it and from the weaker
10 standpoint, and I thought to specify 15118 would be to say
11 that every cell phone in the world would carry a Wi-Fi radio
12 and that's it, and we'll only have three applications. It
13 will text, email, and a browser, that's it. That was Steve
14 Job's original concept to have iPhone to have only limited
15 things.

16 Now, today's smartphones will have a number of
17 applications sitting there that could be talking to your
18 bank, your own personal banking account, they could be
19 talking to land reservation (phonetic) systems. They all
20 talk to the internet. They access whichever medium that's
21 available to it, but ultimately deliver services that a
22 customer will want to pay for. You know, applications cost
23 money, the transitions may cost money, but that is all
24 figured out by the downstream players.

25 So there is already a handy example as to how a

1 thriving VGI ecosystem can grow to multiple solutions that
2 can coexist without clearly getting in each other's way. So
3 that's absolutely a viable scenario.

4 Any more? The next one.

5 So when you start looking at end-to-end solutions
6 and implementations, you know, and we, of course, we don't
7 like to see a lot of standards, but they already exist,
8 unfortunately. You can't get away from them. For example,
9 from the utility side, you know, utilities would prefer to
10 have a common interface that is defined -- or, you know,
11 that is maintained across all resources, not just -- so we
12 don't create a silo-type implementation where one set of
13 DERs have to be addressed a certain way and others have to
14 be a certain other way. That just gives unnecessary
15 complexity and costs in the system.

16 So we feel that if there is one way to implement,
17 then utilities can address whichever is the nearest
18 endpoint, you know, similar to what we are doing for Rule
19 21, and Frances can go over that later. We can talk about a
20 number of third-party operators, or we can go to EVSPs, or
21 we can go to EVSEs, or we can go all the way to EVs
22 directly. And this time those can interoperate and
23 cooperate when necessary or operate solely by themselves, if
24 that's sufficient. And we are not moving the rule important
25 to critical role of services is this telematics, because

1 they may have a role, for example, around the data.

2 I think somebody was talking about telemetry.

3 Well, telematics is meant for telemetry, and that is where
4 you have data, a set of data that can be derived from the
5 (indiscernible) that can inform the distribution system
6 planners, the ISOs and so forth.

7 So we need to look at the system as a whole versus
8 looking at segment of the system so that we derive the
9 maximum benefits for the benefit of the grid, for the
10 customers and the OEMs. It makes sense to.

11 So let's go to the next step.

12 So the other -- I wanted to also present, so we've
13 talked about VGI Working Group. We sort of put together the
14 relative readiness of each of the standards today against
15 the VGI use cases in (indiscernible) use cases. And we find
16 that they have varying degrees of readiness today.

17 But, you know, if you have to start today, you
18 know, this is what the Smart Inverter Working Group did,
19 they also looked at a similar approach. And they said,
20 well, let's start with the standard that most meets the
21 requirements today so we can build on it. So California
22 Smart Inverter profile was built on a particular standard,
23 was this relying on a standard that would take another few
24 years to get up to speed. So this is just a reference point
25 for you to look at. But there are some that are more ready

1 than others.

2 And I also wanted to make sure that the last
3 column represented the work that we have been doing, that
4 Rich has been leading within the Society of Automotive
5 Engineers, and he'll get into much more details there.

6 Let's go to the next slide. I think that's it.

7 So essentially, the working group that we are
8 proposing is pertinent. We believe that Rule 21, the Smart
9 Inverter Working Group, was a successful pattern to follow
10 because it essentially defined the requirements, technical
11 requirements, defined and developed an implementation guide,
12 so it has some referenced principals that provides us
13 technical -- technology providers can follow.

14 We also believe that a certification body so that,
15 you know, you can remove the confusion and test out
16 interoperability as a part of the system itself. And then
17 also develop a functional representation of a system, and
18 implement a system that we can demonstrate and say here is
19 one way to do it. And focus on end-to-end solutions and
20 standards with uniform utility interface consistent with the
21 other system in small-medium business, C&I, non-road, et
22 cetera, that I was mentioning. And then we also recognize
23 and understand and value the need for speed. So we want
24 this to be done in an expedited manner so that experts can
25 inform the rule making in 2017, et cetera.

1 And then basically what we would like to do is,
2 please, happy to take on the role of leading this activity,
3 if that is considered appropriate. We will support it in
4 any fashion that is appropriate. We have an Infrastructure
5 Working Council group that is an open forum. And it will
6 have to be a transparent, consensus-oriented and open
7 process with access and ability to contribute from all
8 stakeholders, but at the same time it is action and goal
9 oriented. It is not just a bunch of talk.

10 So that's basically the end of it. Thank you.

11 MR. SCHOLER: Okay. All right. I'm Rich Scholer.
12 I'm the Manager for Vehicle-to-Grid at Fiat/Chrysler. I
13 also Chair the SAE International Communication and
14 Interoperability Task Force. I've been working with plug-in
15 vehicles for over 25 years. I've worked on the standards
16 back when we did the additional J1772. We only had DC
17 charging for communication. Then I worked on fuel cells for
18 a while. And I did do a plug-in fuel cell, so, yeah. And
19 back into this for a while.

20 So please, next slide.

21 And this is an index. We'll cover a few
22 discussions points. And I'm not going to read a lot of
23 this, but I'll do the SAE Standards summary, some of the
24 common material, and then go over some of the architecture
25 between 15118 and Europe, how we would use that in the U.S.,

1 and how we'd use our SAE in the U.S. And then there's a lot
2 of more detailed material in the background that we don't
3 have time to discuss, but it will be available, and we can
4 go into more detail at any point, so next time.

5 All right, well, and what we did was on the SAE
6 Communication Task Force, we kicked off our effort ten years
7 ago. And a year later we started working with the ISO team.

8 So we had common approaches to our use cases and messages
9 and protocol. Even though we worked independently we came
10 up with the same approach, which was good because we
11 understood the structure of what our standards needed to
12 contain and separate.

13 The only thing I wanted to mention on item one
14 there is Europe and the U.S. where DC charging is per a DIN
15 SPEC. The reason we did a DIN SPEC is because it takes
16 seven or eight years to get the ISO documents through the
17 ballot cycle. We needed something sooner, so we did the DIN
18 SPEC, and we updated the SAE according to that.

19 Now, there are variations between DIN SPEC and
20 15118, Edition I, 237, but I won't get into those. We are
21 working on Edition II. There are 840-some comments that
22 we're addressing that will be published the end of 2018. So
23 we will catch up and we'll implement all the 15118 in our
24 SAE Standards. It's a matter of when we're ready to have
25 them mature enough to include. The --

1 MR. ECKERLE: Can I just ask quickly what a DIN
2 SPEC is?

3 MR. SCHOLER: A DIN SPEC is a German document, it
4 is a German standard, and it's DIN 70121. We did the first
5 one -- I think I have it up there but I can't read it very
6 well. We had an initial version. And then three OEMs and a
7 couple of EVSE manufacturers did an update to that, and that
8 was published in 2015. That's what all the DC charging is
9 produced to and validated to for Europe and the U.S.

10 Now, a lot of those things are in the ISO 15118
11 Standard, but there are still some variations. Some of the
12 messaged names themselves are a little different, so we'll
13 address that as we continue to update our SAE.

14 When we do our communication we have what's called
15 a schema, and we call out a name space, a major-minor
16 version. So we -- it's just like a computer using DOS. We
17 always use DOS. We can still use DOS commands. But we have
18 windows. So match up, when we connect, we match up name
19 space, major-minor version, and that's what we implement.
20 So as we do more improvements and advancements, it's always
21 rearward compatible down to the lowest level. We make sure
22 that we always include what product is out there.

23 Now, from an SAE objective, we do intend to do 100
24 percent of our customers. There are no gaps in our SAE
25 Standards. We have 100 percent of the requirements. We

1 have been working with EPRI and the utilities for over ten
2 years. And we understand, it took me a long time to
3 understand the use cases and the actors and so forth, but
4 Sunil and others finally got that through my thick head and,
5 you know, we got to the point where can generate our
6 standards.

7 The other thing is, you know, the utilities
8 programs are using SmartEnergy 1 (phonetic). A lot of the
9 different organizations are using SmartEnergy 1. Those are
10 all carried over into STAR 2 (phonetic), SEP 2. With the
11 addition, we have a flow reservation message. We actually
12 have a message from the vehicle to the utility that says how
13 much power we want, how much energy we want, and when do we
14 want it, during the charging connected period. And then we
15 get authentication back from the utility and we dynamically
16 control that. So we can optimize our charging in using SEP
17 2 based on all these different existing utility programs,
18 and then more.

19 Now what I want to relate to our vehicle-to-grid,
20 is assume you just now got your first cell phone and you've
21 never used one before, and the instructions say, well, I've
22 got to, okay, I've got to plug it in, I've got to put this
23 cord in the bottom. And then I've got to have a wall
24 outlet. And I've got to plug this in to power line-carrier
25 communication. That's what we look at as the PLC

1 communication between the vehicle and EVSE.

2 What we want to do is we want to use our plug-in
3 vehicles just like we use our cell phones. You know, when I
4 take a trip a use Google Maps because I like point-by-point
5 instructions. You know, I get a pop-up that says there's an
6 accident three miles ahead. Do I want to save ten minutes
7 by going an alternative route? I want to plan my charging
8 session when I'm driving home. I might have a power outage
9 at home. I may start at a DC fast charging and charge, and
10 then use my vehicle as a home generator or a DER if I need
11 grid stability when I get home, and then charge later. I
12 want those opportunities.

13 And, you know, as we all use our cell phones now,
14 we want the same features with our vehicles. We need to
15 plan for our communication session, not wait until we're
16 connected to an outlet and ready for the charging session.

17 So if you can go to the next page?

18 COMMISSION PETERMAN: Rich, let me just interrupt
19 you quickly. I liked your analogy. But what I don't fully
20 ascertain is what do you think is missing for that to
21 happen, the equivalent side on the -- for electric vehicles?

22 MR. SCHOLER: Well, SEP 2 --

23 COMMISSION PETERMAN: Okay.

24 MR. SCHOLER: -- is something we could use, power
25 line carrier or Wi-Fi or ZigBee communication. And we could

1 use our vehicle telematics to get that information to the
2 car while we're driving home or while we're at any location.

3 COMMISSION PETERMAN: Okay. Thank you.

4 MR. SCHOLER: PLC is only -- it's a carrier signal
5 on the power circuits between the vehicle and the EVSE. You
6 have to be connected to do the communication. You wait.
7 You have to wait until you're reading to charge, but it may
8 be too late. You don't have power, you don't have other
9 things, you know, we don't want to wait that long.

10 And we want to make this transparent to the
11 customer. When I get the popup that says there's an
12 accident ahead, I may only get that, you know, when it
13 happens. You know, otherwise it never happens, I go all the
14 way to my route.

15 Now what we've done in SAE is the left column are
16 the use cases, the center column are the messages and
17 signals, and on the right are the different protocols. And
18 like I say, we structure just the same as 15118. Now we're
19 also separated this into six different dash sheets
20 (phonetic) because we wanted to keep the teams focused, and
21 we wanted to be very dynamic on how we published our
22 documents. We can publish a document fairly quickly. We
23 can open up a document, update in a month or two if we need
24 to, depending on the magnitude of changes, put it through
25 the biocycle (phonetic), within two or three months it's

1 published. So we're very quick on how we can do our
2 updates.

3 And we started with smart charging. Now, as you
4 move from the top to the bottom, or bottom up, all we do in
5 these sessions, like wireless charging on the bottom is only
6 the unique items for wireless charging. It still reuses a
7 lot of the DC charging messages that are in our DASH 2
8 (phonetic). So we have our customer-to-vehicle in DASH 5.
9 We have diagnostics in DASH 4, and so forth. So we wanted
10 to keep these separated. We have full use cases, full
11 messages and protocol.

12 Now, as you can see on the right, there's several
13 arrows. So, you know, once we do smart charging we could
14 use power line carrier, we could use telematics, we could
15 use anything we want.

16 The other thing is, you know, from a DC charging
17 standpoint, we are using the CCS. It's a Type 1 connector
18 in the U.S. and it's a Type 2 in Europe. The only
19 difference is Europe has two more terminals to be able to do
20 three-phase, so it the CCS system.

21 And we have interoperability documents, three
22 documents there on the bottom for that. And then a security
23 one that Frances is helping us on.

24 So the next page.

25 And what I wanted to do is identify some of the

1 common material. And this is what I identified. From a DC
2 charging standpoint, we are using the DIN Standard. The DIN
3 Standard, Edition 1 and Edition 2, all will do DC charging.

4 Now, we will update our SAE to Edition 2 of the 15118.
5 That's still a couple of years out until that's published.
6 But we will not do it at the CD stage. There's an FDIS
7 stage that's still six months or so before publication.
8 We'll bring our SAE documents up to the same level at that
9 point because only editorial changes can be made, not
10 technical changes. So --

11 MR. CRISOSTOMO: And, Rich, just to clarify those
12 acronyms, you're referring to the processes in the ISO
13 standardization process --

14 MR. SCHOLER: Yes, ISO.

15 MR. CRISOSTOMO: -- the Committee draft, and the
16 final draft International Standard?

17 MR. SCHOLER: Yes.

18 MR. CRISOSTOMO: Is that what you meant?

19 MR. SCHOLER: ISO and IEC have four basic steps.
20 They have a new work item proposal. They have a working
21 draft. And then a CD stage. The CD stage is when it
22 becomes more public for open documents, more comments. And
23 then the FDIS is right before publication, where you only
24 have technical -- or editorial, not technical --

25 MR. CRISOSTOMO: Thank you.

1 MR. SCHOLER: -- comments.

2 The reverse power flow, there is a message for AC
3 DER in the Edition 2 of ISO. There's two messages for DC
4 DER. So we'll make sure that we're aligned with that.

5 As far as the customer-to-vehicle, that's payment.
6 That's in our DASH 5 documents. And up to this point we
7 haven't been concerned about payment in the U.S. because all
8 the EVSEs are pretty much free, except, you know, we will
9 pay for the spot. We will include PNC, EIM -- PNC is plug-
10 and-charge, which is the power line carrier between the
11 vehicle and the EVSE. EIM is external identification means,
12 which is an RFID tag where you have to have an additional
13 step. But we'll also have your cell phone. You'll tap your
14 cell phone at EVSE or the charging station when you go to a
15 public place and be able to pay for your cell phone. So
16 we're not restricting things to certain protocols. We're
17 not restricting things to power line carrier. We want to
18 make sure the customer can use their vehicle just like a
19 cell phone.

20 And then from a wireless charging, there's been a
21 lot of effort on the wireless charging because it does
22 include wireless communication. But that's the initial
23 service discovery, final service discovery as two or three
24 vehicles are approaching two or three pads, that gets us to
25 a communication standpoint that we can understand which pad

1 we're going to land on before we get to the five meter where
2 magnetic vectoring takes over. So, you know, we do have
3 wireless communication in wireless charging, of course, but
4 it still carries through the same energy transfer as DC
5 charging.

6 So if you go to the next page?

7 And this is some of the architecture. I just
8 wanted to briefly show this. Sunil has already shown some
9 of this. This is a little different cartoon. The
10 architecture in Europe is the utility talks to the EVSE.
11 The vehicle talks to the EVSE. And the EVSE is permanently
12 installed, hardwired to the site.

13 If you go to the next page?

14 It's a little different in the U.S. because if you
15 have a private EVSE and it's less than 50 amps, I can put a
16 50-amp plug or a 30-amp plug on that thing. I can unplug it
17 from the wall, take it off of the fixed-in-place bracket and
18 take it somewhere else.

19 Now, we've agreed with the utility companies, with
20 3,200 utilities, 10 to 11 years ago, to use SEP 2 from the
21 meter into the home. Now the energy service interface is a
22 trust source for the utility. And it's the same model,
23 whether it's in the home or a fleet or a business or any
24 other application. You know, we will get a SEP 2 signal
25 from the meter to the ESI. The utilizing could still have

1 their own specific communication, BACnet or whatever they
2 want to have, you know, on the backend. But it's SEP 2 to
3 the ESI.

4 And then what we would have for 15118 is we would
5 have PLC communication from the vehicle to the EVSE. And
6 then we'd have a third-party communication. Now, I've shown
7 a slide in the background that shows a difference between a
8 gateway and a bridge. This requires a gateway communication
9 at the EVSE where the EVSE has to read the signal at the top
10 level of the SAC (phonetic), the application layer, transfer
11 it to the other protocol, and then send it back out. It has
12 to read it, transmit it back out on the application layer,
13 the side. A bridge simply transfers the signal at the MAC
14 (phonetic), the second layer of the stack, and it doesn't
15 read the message. All it does is change the protocol from
16 one to the other.

17 So and if you can go back to the -- yes. One
18 more. Okay.

19 So that's what the EVSE has to do in its
20 application with 15118 in the U.S.

21 And the last slide is -- next one. Yeah.

22 This is what we've done in our SAE and our IEEE
23 architecture. What we do is we do SEP 2 from the vehicle,
24 all the way to where the utility has its own unique
25 communication. So that's -- and we still cover the three

1 basic prices.

2 What we have now is we're finding that utilities,
3 like in Illinois, they're actually using real-time pricing
4 that changes every five minutes. And if I can plan to use
5 negative pricing from 2:00 to 4:00 in the morning while I'm
6 driving home from work, that's great because that's when my
7 car will actually do the charging process. I don't have to
8 wait until I'm connected, if I want to capitalize on clean
9 energy. Like Texas has too much wind at night. They
10 actually pay to get rid of the wind energy. So I can plan
11 those sessions as I'm driving home, using telematics or
12 other approaches to the vehicle communication. I don't want
13 to be in a reactive mode. I want to be in a planning mode.

14 Now we've all talked about extreme fast charging,
15 too. Right now a vehicle, if you drive 30 miles a day,
16 you're basically ten kilowatt hours. That's seven kilowatts
17 of charge for two hours. When we go to extreme fast
18 charging vehicles and we only charge our vehicle once a week
19 because we're going to treat them like an ICE engine, that 2
20 hours changes to 10 to 12 hours. We absolutely need to have
21 planning and we need to have communication for the charging
22 session.

23 And the reason the utilities use demand response
24 now is because every home, with few exceptions, have an air
25 conditioner. They have a hot water heater that draws a

1 kilowatt. That's seven kilowatts for two hours per vehicle.

2 Once every home has an EVSE, we have to use these other
3 tools to be able to do the communication.

4 Thanks.

5 MR. LANGTON: All right. My name is Adam Langton.

6 I'm with BMW. And I'm going to give you guys a little
7 background on a smart charging program called Charge Forward
8 that BMW is conducting right now with PG&E. And this is a
9 standards-based approach, but it doesn't involve any
10 communication with the charging station. And so I want to
11 describe a little bit about how this works and then talk
12 about why this is relevant to this particular conversation.

13 So BMW has a contract with PG&E to provide demand
14 response. And to do that we engage our drivers in the
15 charge forward program. And as part of that program they
16 agreed to let us curtail their charging, and we compensate
17 them for doing that. We've been doing this program since
18 the summer of 2015, and so it's about 18 months. We've done
19 about 170 demand response events in that time, and we've had
20 a pretty high success rate. This is the first pilot that
21 we've done on this here in the U.S. We had a 94 percent
22 success rate in meeting those 170 events which we consider
23 very successful, considering this is the first time that we
24 did this.

25 If you'll go to the next slide?

1 I want to explain a little bit. What's
2 interesting here is I want to explain the technical approach
3 and why this is -- and then talk about why this is relevant
4 to the conversation today.

5 So the approach here that we use is we receive an
6 OpenADR signal from the utility. So this is a standards-
7 based approach. We get an OpenADR signal for when the event
8 is and what reductions the utility would like to see from
9 us. That goes from the utilities cloud to our cloud, the
10 BMW cloud. And then from there the BMW cloud looks at the
11 participating vehicles and determines who can participate
12 based on who's plugged in, what your state of charge is. We
13 also give the driver an opportunity to override and say that
14 they do not want to participate.

15 Our overall approach here is that drivers probably
16 don't want to be hassled about this. They don't want to
17 make a lot of decisions throughout the day about whether
18 they're going to charge or not, whether they're going to
19 smart charge or not, so we try to take that out of their
20 hands. So it's a program where they have to opt out.
21 They're automatically opted in, and they can choose to opt
22 out. We give them a smart phone app that allows them to opt
23 out either on a daily basis, or when they receive notice
24 that they're in an event, they can opt out of that event, as
25 well.

1 So we look at the vehicles, determine who's going
2 to participate, and then we use the Telematic system to
3 communicate directly to the vehicle and curtail the
4 charging. So we're able to do that. Originally we were
5 doing day-ahead signals, but we quickly converted to five-
6 minute signals, so we're able to perform in under five
7 minutes in response to a signal. So when the utility gives
8 us that signal, within less of five minutes we can curtail
9 the charging.

10 We've been doing that for the past 18 months.
11 We'll enter a new phase in this starting in 2017. So we're
12 actually doing enrollment for that right now where we'll
13 expand the number of vehicles and we'll expand the use
14 cases. So what we did in the first phase of this was we
15 just did curtailment of charging. We would stop the
16 charging in response to signals from the utility.

17 In the next phase, we're going to do much more
18 advanced use cases. We want to be able to start the
19 charging when there's over-generation events. And we also
20 want to be able to explore the ability to manage charging
21 over multiple events, potentially over multiple days.

22 So we think that the battery size for vehicles is
23 going to continue to expand, and so vehicles will have more
24 and more range. And when they have more and more range it
25 becomes less necessary to charge every night. Charging may

1 become less predictable then. So what we'd like to do is
2 take advantage of that range by determining the best times
3 to charge, which may not be within a four-hour window for a
4 given charging event but may happen over multiple charging
5 events where we stop the vehicle from charging one
6 particular charging event and start it during another that
7 happens hours later, or perhaps even days later.

8 With this, one particular use case of this, we'd
9 be able to respond to solar over-generation during the day.

10 We think that to be able to do that, what's really
11 necessary is to stop a vehicle from charging during the
12 night, and then it get it to charge during the day. So this
13 is complicated. It involves a close relationship with the
14 customer, and it involves over multiple charging events.
15 And so we think that where we're positioned as the OEM, and
16 our communication system works really well for this.

17 So next slide, Noel.

18 So this is just an example of a screen shot of the
19 app that we have. The priority here is that the driver is
20 always able to complete all their trips. So we want to give
21 them ability to override whenever they need to. And we do
22 think that the telematics approach, coupled with standards,
23 can meet advanced use cases. We know where the vehicle is,
24 so we can use that to determine what circuit the vehicle is
25 on, and then work with the utility to provide services that

1 are specific to a specific circuit.

2 Because the vehicle is moving around to different
3 circuits, we actually think that's an advantage in the long
4 run. Because if we're able to manage over multiple charging
5 events, we can actually help work with the utility to get
6 the charging not only to the time that the utility wants,
7 but also to the circuit that it wants. So we think there's
8 a lot of sophisticated use cases that can be done here.

9 As I said before, we can -- this program that
10 we're doing now did not require any hardware modifications
11 to the vehicle. It also does not involve any communication
12 with the charging station. I think this is really important
13 to understand here. I can potentially do this with any of
14 the iPerformance vehicles that BMW has on the road. We
15 don't need to make any modifications to those vehicles to
16 enroll them in a program. And as I said before, what I
17 think the barrier here really is, is it's not a standards
18 issue, it's a matter of having a contractual pathway and a
19 defined revenue to be able to do this.

20 And so that gets at the what that I mentioned
21 before rather than the how, because there's many, many
22 different hows that we can use here. What we would like to
23 see is more of a focus on the what. And a specific example
24 of what I think the state can do in this would be to
25 actually mandate the utilities to procure VGI services. And

1 they can do that now, to actual mandate in the megawatt-
2 scale to actually buy those services. And think when that
3 happens what you'd see is that these different stakeholders
4 would then come together to figure out the how then to meet
5 the what.

6 So BMW does support, that being said, BMW does
7 support the idea of doing a working group to explore these
8 standards. But I think one aspect of that working group is
9 there should not be an assumption that the communication
10 must go through the charging station. That should not be an
11 assumption of the working group. That's going to lead us
12 potentially in the wrong direction. I think we need to be
13 thinking about it a little more broadly.

14 Thank you.

15 MR. CRISOSTOMO: And, Dave, in the interest of
16 time, so that we can get people out, I'm sure there's a
17 desire for stretching legs, if you could keep it to five
18 minutes, and so that we could get a few questions in? Thank
19 you.

20 MR. MCCREADIE: So hello everyone. I'm Dave
21 McCreadie from Ford, from the Connected Car and EV Services
22 Group.

23 And, Noel, I think I can do better than five
24 minutes, so --

25 MR. CRISOSTOMO: Thank you.

1 MR. MCCREADIE: This is just to wrap up this bit
2 of four speakers here. And I appreciate the opportunity to
3 talk to the Commission on this important issue.

4 So I think the perspective that I wanted to
5 provide is that, you know, we've seen -- I guess the
6 business value here, as it's been mentioned a few times now
7 already this morning, has not been especially evident thus
8 far. Over the last five years there have been a lot of
9 pilots that have been run by a wide swath of OEMs. Those
10 pilots have, in our view, not especially stuck very well. I
11 mean, they've been very time bound, very limited. And I
12 think what we're all trying to get towards here, toward the
13 1.5 million vehicles, is a very highly scaled version of
14 VGI. And I think all the OEMs are fully behind that and
15 supportive.

16 So in our view, the reason that everyone has been
17 going slow is because from both sides, both on the utility
18 side, as well as on the OEM side, certainly, we've been
19 trying to feel our way through this value question. And
20 just to reiterate, I think, what Adam has said a few times
21 now, that appears to be the main barrier because the limited
22 nature of the pilots over the last number of years has not
23 necessarily, in our view, been due to a lack of
24 communication technology, it's more been the question of how
25 is the value from these vehicles really going to be

1 unlocked? And so we would be very supportive in what Adam
2 was just mentioning about trying to move forward on that
3 front.

4 So we would like to see a program that would be
5 much more broad in nature, several years, where it would be
6 coordinated across all the IOU territories, full state of
7 California, where very meaningful benefits would be apparent
8 to the customer, where we could opt in a lot of people, and
9 just to get mass enrollments behind all of this.

10 So, you know, if there was, as Adam was
11 suggesting, a mandate to get all the IOUs to procure grid
12 services from plug-in vehicles, and with a competitive RFP
13 bidding process where the OEMs and some of these other
14 stakeholders would be able to bid in these aggregated loads
15 that we know they can perform to again, like I said, help
16 unlock this value question from the cars. And in so doing I
17 think it provides a way to demonstrate that this is, because
18 there's many stakeholders involved here and there are true
19 benefits for everyone.

20 So I guess if you could go to the next slide,
21 Noel?

22 In the interest of time --

23 COMMISSION PETERMAN: May in interrupt with a
24 quick question, because I have to pop out in about 30
25 seconds?

1 MR. MCCREADIE: Yeah. Sure.

2 COMMISSION PETERMAN: So on your last slide, when
3 you talk about a two-year program at scale, do you have any
4 estimate of what do you think scale is? Are you thinking
5 this is a certain amount of cars, certain percentage of car
6 sales, certain amount of megawatts?

7 MR. MCCREADIE: Yeah. So, no. I mean, in our
8 view this would be for the first time where all the OEMs
9 would be enrolling customers on the order of thousands. So,
10 I mean, this would be thousands, tens of thousands of
11 vehicles across the state, where the state would, for the
12 first time perhaps, be able to realize on a widespread
13 basis, you know, VGI as it's been envisioned. And we would
14 all like to head down that pathway, as well.

15 Yeah, so anyway, on this slide, I'm not going to
16 tick down through all of these things. But it's just the
17 point of making that there's a lot of stakeholders here in
18 this space, we see all that, and everyone needs to win;
19 right? Because when any given stakeholder doesn't see the
20 returns for what they're putting in, then there's going to
21 be an issue. So if we were able to do a scaled program like
22 this, we think that that is the clearest pathway to help
23 really realizing again the VGI that the state is going after
24 and allows all the stakeholders to realize the value and get
25 this really entrenched in their businesses.

1 So I guess with all of those things said, you
2 know, again, we would like to see better access to the value
3 is really, I think, what the OEMs are after. And, yeah,
4 thank you. And so, you know, we don't believe that the
5 barrier here has really been a gap or it's been a technology
6 barrier or a standards-based barrier. We believe that the
7 barrier has been one of the value not especially being
8 apparent.

9 And I guess just as a final thought, I'd like to
10 just touch on a couple things. I mean, I appreciate the
11 comment that Steve Davis made at the beginning in the
12 acknowledgment that the OEMs are -- well, first of all, all
13 of us, I think, most of us are in the process of deploying
14 15118. So, I mean, we're all moving in that direction
15 anyway for those use cases where 15118 is the right pathway.

16 But at the same time, we don't want technology solutions
17 dictated to us. And as Adam has fully shown with what
18 BMW/iChargeForward is doing, there are other ways that can
19 realize a lot of grid value right now, today, and we just
20 want that to be recognized.

21 So, you know, understanding that there is a need
22 for market signals to be sent, I think that helped us
23 through the previous period where we were grappling with
24 multiple physical chargers. And I totally understand that
25 having a market signal sent by way of infrastructure could

1 be a very important thing. Again, it's just we just want
2 the recognition that that is not necessarily the only way to
3 resolve the problem, and there's other pathways that can be
4 used to quite good effect. We just like a way to show the
5 state that with all these vehicles, that we could get to
6 enroll with a way to utilize the value, we see that as a
7 great pathway forward.

8 MR. CRISOSTOMO: So I'd like to take a question
9 quickly, maybe, if you don't mind.

10 In terms of defining value and targets, what type
11 of quantification of value is necessary? And what's a
12 number of megawatts that would be enough for automaker
13 action? I guess to any of the panelists.

14 MR. MCCREADIE: So I don't know that I'm -- I
15 mean, what Ford would like to see as a way -- a mechanism
16 for us to learn, you know, we would like to have a way to be
17 able to opt in hundreds of kilowatts or megawatts to the
18 grid. I mean, from -- when we look at it, I need to look at
19 this through more of a customer lens.

20 I mean, through all the pilots that I have seen
21 across this space in the last three of four years, you know,
22 it's the question of what is a meaningful return or
23 incentive from a customer's perspective? You know, being
24 able to use their car's batter to serve the grid with any
25 potential risk that they see in doing so, what the

1 meaningful dollar figure that they need to have to want to
2 participate in this? I'm not certain that we really know
3 the answer to that yet, but it's probably in the, you know,
4 hundreds of dollars per year. So, I mean, that would be one
5 thing that we would be very eager to be, you know, trying to
6 work on and figure out with what we think we need in order
7 to incentivize the customer to really participate in
8 something like that.

9 So, Noel, I don't know if I fully answered your
10 question, or if any of the others have any comments on that,
11 but --

12 MR. LANGTON: I think that it's a good question,
13 and I don't think we know the answer yet, and it's something
14 worth exploring.

15 In terms of the scale, from the BMW perspective, I
16 mean, for our customer, we would want to do this at --
17 certainly at the thousands of BMW iPerformance vehicles. I
18 think we could handle that. I think we'd learn a lot. How
19 that -- you know, it's hard to think about that across
20 different OEMs. I can't offer, you know, any perspective on
21 that.

22 And then the value question, I agree with Dave,
23 it's an open question that we -- I think rather than -- you
24 know, there's two sides to this. One is figuring out what
25 the driver needs to participate. And the other side is what

1 is the value that we're creating on the grid, and I think
2 that can't be lost. But it's possible we go out and we
3 start this without knowing what the value on the grid is,
4 and we figure that out through this project. So we don't
5 wait to know the answer to that and we don't debate that.
6 We say, okay, we're going to go ahead and we're going to
7 start doing it, which the Commission has done in other
8 areas, particularly in storage where we say -- and that's
9 why competitive solicitation can work for this. And it can
10 be structured so that you get broad participation and you
11 get people doing different things, and then we use that to
12 learn. If it's over multiple years we can then say, okay,
13 after that period, you know, did we -- how did we go forward
14 after that?

15 MR. CRISOSTOMO: Any questions? Maybe we could
16 close in one or two, so one and two, Urvi, and then let's --
17 there's plenty of time, so we will be able to continue this
18 after lunch.

19 MR. SOLE: Very quickly, my name is Barry from
20 Porsche, and I have two questions.

21 Rich, the first one is for you. You spoke about
22 this flow reservation. Why do you think that is not
23 possible with 15118, but over another channel like
24 Telematics, to reserve in advance a charging schedule before
25 I'm at the charging station?

1 MR. SCHOLER: It's not in the messages right now.
2 You asked for energy voltage and current, and you do that
3 in the charge session, not ahead of time. We do this when
4 we first plug in. And we could do it while we're driving
5 from home, you know, through telematics. We could do our
6 flow reservation, you know, while we're in the process of
7 driving our vehicle.

8 It's not a matter of you can't do it in 15118.
9 It's a matter of when? Do you want to plan ahead for your
10 charging session? Do you want to wait until you're
11 connected and in the energy transfer session to be able to
12 do it?

13 MR. SOLE: Okay. Good. Understood.

14 Adam, the next question was for you. So I like
15 what you're doing with your iPerformance cloud-based
16 management of charging schedules, but do you not take the
17 risk of cutting out the middleman or the charge point
18 operator? If you take the use case, charging at work,
19 between you guys and the utilities, you've now made a
20 decision to increase the charging power of the vehicles.
21 The charge point operator, the company, where you charge at
22 work may incur demand charges, or you're making a decision
23 without considering his needs. And at the end of the day,
24 he's basically footing the bill. How do you overcome these
25 issues?

1 MR. LANGTON: That's a good point. I wouldn't say
2 that we're necessarily making that decision without working
3 together with the facility. So there is an opportunity
4 there within this use case to work together with the
5 facility to understand what their demand charges are and
6 deal with that.

7 There will be cases where you do not have a
8 network charging station, in which case, then not only do we
9 not have an issue with them, but we're actually enabling
10 smart charging where it couldn't occur. If there is a
11 network charging station, then there can be a relationship
12 worked out there to deal with that, as well.

13 MR. SOLE: Okay. So --

14 MR. LANGTON: So I guess I don't know the answer
15 to that, but we don't figure it out until we give it a shot.

16 MR. SOLE: Okay. Thanks.

17 MR. CRISOSTOMO: So Dean had his hand up. And
18 then, Urvi. We have a question from the phone but, Craig,
19 do you -- is it --

20 UNIDENTIFIED MALE: (Off mike.) (Indiscernible.)

21 MR. CRISOSTOMO: Okay.

22 UNIDENTIFIED MALE: (Off mike.) I'll wait and see
23 if anybody else addresses any other questions.

24 MR. CRISOSTOMO: Okay. But I don't want to keep
25 everyone, because we do have a lot of time to have this

1 conversation in the afternoon. And I would imagine people
2 are needing a break, just in case, so let's keep it tight.

3 MR. TAYLOR: Let's keep it tight. Dean Taylor,
4 Southern California Edison.

5 Noel, do you mind bringing up Sunil's
6 presentation, especially to the end-to-end slide?

7 Edison, I think, is fine with the suggestions by
8 Energy Division and EPRI of a working group and agree with
9 the two automakers on that. Obviously, there's a lot going
10 on. This is a very complex space. What I liked about
11 Sunil's slide is it took the 11 principles and added to
12 them. And I think there's even another one that wasn't on
13 there, which is the speed to market, how can we get this out
14 there quickly.

15 I'd also really emphasize the cost. Several other
16 speakers were emphasizing the need to look at the costs.

17 And if you could go to the slide on end-to-end
18 solutions? That one.

19 What's particularly, I think, useful there, this
20 is, I think, meant to be just an example of some, but the
21 point is that there's a lot of different ways to get from
22 the car all the way to the grid. It could be a combination
23 of two standards working together. It could go through
24 directly. There's a bunch of different platforms. I mean,
25 there's OVGIP, there's DHC, there's others. So I think from

1 a standards viewpoint or a platform viewpoint, this is just
2 a way to look at a whole bunch of different solutions, not
3 just the ones, you know, presented there. And then rank
4 them according to, you know, a set of 20 or so criteria.
5 Obviously, there's more to do. But just from a utility
6 point of view, I think we're on the hook to come up with
7 what are the different options and why. And so we need some
8 kind of set of criteria principles to look at a wide range
9 of end-to-end solutions. So that's -- I think this would be
10 very, very useful.

11 And then, in addition, to be able to get things on
12 the record and to help the Commission and other agencies
13 moving forward.

14 MR. CHHAYA: The group, though, the working group
15 would be to enable any party that wants to take on the role
16 of being the utility to EV interface, to enable them to
17 operate in that space.

18 MR. CRISOSTOMO: Urvi, go ahead.

19 MS. NAGRANI: Okay. So two things, once again,
20 pointing out the elephant in the room of the fleets,
21 specifically as it relates to the analogy you used about
22 cell phones. I think the analogy is apt if you think about
23 communication's interfaces and what the FCC's role is versus
24 what is the fiscal role of setting up those systems.

25 So, for example, if the utility wants to have a

1 role in a networked system, there has to be some buy-in, in
2 the same way that when I got this phone, I didn't have to
3 pay for it. AT&T paid for it to Apple. Apple got paid as a
4 technology provider. And I, as a user, have that built into
5 my cost of operations. If you don't have a built-in
6 modeling of the costs right up front, the user is not going
7 to suddenly go, I want to think about my operations costs,
8 as well as my vehicle costs when there's overlapping areas
9 where they've never had to ask that question before.

10 If you do build a working group that is focused
11 predominantly on the light-duty side, I would urge you to
12 write "light-duty" in the name of the working group, so that
13 way it does not stand as a standard for all types of
14 vehicles. Because in the same way as this phone number
15 equals me as an individual, I also have a different phone
16 number for my office. I have a different phone number that
17 gets directed through Google Voice. And they can all go
18 through the same device, I can have multiple standards. And
19 I can also have a phone number that goes somewhere that is
20 completely non-networked. And as a company, I can have a
21 phone number coming into one place, and then be diverted
22 into 100 different others.

23 All of those are options that are enabled by our
24 Communication Standards if we look at the FCC as a model.
25 If we are going to go into that way with communication

1 standards on a vehicle, we need to allow for the full scale
2 of commercial operations of users. Because when I am using
3 a car share vehicle, it is different than with my personal
4 vehicle, which is different than when I use a fleet vehicle
5 with a different owner.

6 And the second part is I like BMW's approach with
7 the proprietary cloud, a use case where it is very user
8 centric. I would urge all of the utilities to form a
9 standardized API, so you're not relying on individual
10 technology providers to have in-house software expertise and
11 utility expertise in order to engage with the standards so
12 that all users, whether they buy a Fiat or a BMW, can have
13 the same access to demand response.

14 MR. LANGTON: Just one comment on that. The
15 communication that our backend is doing with the utility
16 backend is using OpenADR, which is a pretty common standard.
17 So there is a standard there already.

18 And I don't know if that addresses your last
19 question.

20 MS. NAGRANI: I mean, if I were to think about
21 OpenADR, I would also think about UtilityAPI. I would also
22 think about all of these other technology providers who
23 claim they have the solution of the open system. Unless the
24 open system is coming from the regulator itself, and we know
25 that every time there's a rule-making change or that there's

1 a state-level change, users are going to be protected and
2 you're not going to have to rewrite your standard, that
3 doesn't solve the problem of a technology provider
4 integrating.

5 MR. CRISOSTOMO: Could we open the line to Stacy
6 Reineccius from Power Tree?

7 MR. REINECCIUS: Can you hear me all right?

8 MR. CRISOSTOMO: Yes

9 MR. REINECCIUS: Okay. I just wanted to point out
10 that there's kind of been implicit assumption in many of
11 these direct-to-vehicle programs, which is that somehow the
12 EV charging infrastructure, the electrical wire
13 interconnect, and the value of the actual parking space and
14 maintenance of that are somehow a given, and that those
15 costs and the cost of operating an infrastructure get
16 directly impacted by the rate of charge and the number of
17 vehicles that are utilizing that charger.

18 And so if care needs to be taken in any kind of
19 VGI compensation program to assure that that host site
20 costs, and the associated electricity costs, and the
21 associated demand charges, and the associated property
22 costs, and the time value of that are taken into account.
23 Because if they're not, then the demand response reduction
24 in the rate of charge to the vehicle shifts the cost onto
25 the property host. And if the property host isn't seen that

1 they're being compensated as part of that, they're going to
2 find another way to do it. They're going to raise the cost
3 of parking. They're not going to install EVSE, and/or
4 they're going to impose some additional other added cost.

5 So the direct-to-vehicle model is a piggyback on
6 the property host, but you can't forget the property hosts.

7 MR. CRISOSTOMO: Thanks, Stacy.

8 MR. MCCREADIE: Yeah, I'm sorry, yeah, this is
9 Dave McCreadie from Ford.

10 I think that goes back to the comment I made in
11 closing about there are a lot of stakeholders in this space,
12 and everyone has to have a piece to be able to win. And I
13 agree with your comments. And I think the value question
14 is, you know, just as much front and center for the OEMs as
15 it is for property hosts and EVSE network providers and
16 utilities and everything. So I think that's, in my view,
17 that's in the spirit of wanting to move forward with a very
18 large-scale program where we can figure this out more
19 appropriately.

20 MR. LANGTON: And this is Adam.

21 I would agree with that, as well. I think one of
22 the questions, like Stacy is raising a good issue. One of
23 the questions, though, is if there are other ways to deal
24 with that, that if the site host can deal with that directly
25 through the driver in other ways, then we want to consider

1 that, as well. Because if they have ways to deal with it,
2 it's not necessarily a barrier then.

3 MR. CRISOSTOMO: I'm hoping that Craig's question
4 can be addressed during the afternoon.

5 And so let's meet back here at 1:45. I apologize
6 for the missed timing, but we will continue our discussion
7 and shift time from other Q&A to the next sessions. Be back
8 in an hour please.

9 (Off the record at 12:44 p.m.)

10 (On the record at 1:44 p.m.)

11 MR. CRISOSTOMO: So just if you could take out
12 your agendas out and mark new end times, so that we are able
13 to understand where we are, given the fire drill and -- Mike
14 Bourton, I'm looking at you. Please stop talking. Hi.

15 If we could all take out agendas so that we can
16 update the schedule. I want to make sure that people who do
17 have afternoon flights are able to get home on time. I have
18 a proposal to get us out by 4:15 and still get all the
19 content, the prepared content in.

20 So given that we had a little overtime for the
21 first panel session, please mark the end for the next hour -
22 - or for the next panel at 2:45, so that we have an hour.
23 The one after that would end at 3:15, after that, 3:45. And
24 then we're going to do some combining and end the afternoon
25 at 4:15. That requires elimination of some public comment.

1 But I built some extra time. And I think some of the last
2 parts would be shorter than I was expecting.

3 But the big request would be to ensure that
4 anything that we don't talk about in person today gets
5 captured in your comments that will be due to the docket.

6 So again, to modify your schedules, if you just
7 joined us, end time for the next panel is 2:45. End time
8 for the one after time for comments, 3:15. Frances' will
9 end at 3:45. And then we'll do some combination of the last
10 parts to end at 4:15.

11 Does that sound good for everyone?

12 Please stake your seats, and so that we can get
13 started. We need to kind of crack the whip.

14 So this next panel provides perspective from the
15 ISO 15118 and implementation of the vehicle-to-grid
16 communications interface.

17 And we will get started with Daimler. Is --

18 MR. SOLE: Is she behind there?

19 MR. CRISOSTOMO: So to introduce this panel, we
20 have Judy Brunson from Daimler, Barry Sole from Volkswagen
21 Group, Stephen Davis from KnGRID, and Stephan Voit from
22 KnGRID.

23 So, Judy, I will control your slides.

24 MS. BRUNSON: Okay. Thanks. Hi. Sorry. I
25 apologize for running back in late after lunch. Forgive me.

1 So if you could go to the next slide please?

2 One of the questions that we have as an OEM is why
3 do we believe that EV cells have not reached the level of
4 sales that we've all anticipated so far?

5 At Daimler, we think that the reason largely has
6 to do with the overall customer experience. And there are a
7 couple of customers that we're concerned with. There is the
8 personal use customer, the end-user, the EV driver, and
9 there's also the fleet-use customer. And there are a couple
10 of things that we, as OEMs, have control over to influence
11 that experience. And there are several other reasons that
12 we don't have direct influence over, but we have indirect
13 influence. Those things can be considered.

14 For example, the price of fuel today is a lot
15 lower than it was say seven or eight years ago. That's
16 absolutely one of the reasons.

17 There's also the whole range anxiety issue that
18 does still exist, something that we think that we do have
19 direct control over.

20 There's the fueling, the EV fueling scenario,
21 largely on the infrastructure side, where it takes a
22 combination of efforts between the EV and the EVSE.

23 If you could go to the next slide please?

24 So when we talk about the customer experience, for
25 us at Daimler there is a particular standard that has a

1 level of functionality or that offers a level of
2 functionality that other communications protocols do not
3 offer, and that standard is ISO/IEC 15118. It's been talked
4 about today by several of the other presenters. But for us
5 at Daimler and the OEM community, there are some very real
6 reasons why we believe that that standard is the most viable
7 protocol for implementation as a standard in the U.S.

8 The first being is that it is, outside of the
9 U.S., it is a global standard. It is a standard that has
10 already been vetted. We, as Daimler, have several global
11 demonstration projects where we have interfaced with
12 consumers and customers and understand how consumers want to
13 interface with their EVs. And we found in those
14 demonstration projects what the customer expects, what he
15 desires, and the fact that 15118 offers those
16 functionalities as a reason, one of the main reasons, why we
17 as Daimler support the standard. Now, there are several
18 risks associated with not implementing a standard like 15118
19 that we can talk about a little bit later. And there are
20 several benefits for the OEMs and for all of the EV
21 community stakeholders that 15118 also offers.

22 Next slide.

23 So there is an official statement on behalf of the
24 German OEMs, and I wanted to point that out here.
25 Basically, that statement says that the German OEMs, we

1 absolutely support the implementation and the use of 15118
2 for both AC and DC applications. So I think it's critical
3 for us to make that statement here and to understand that
4 because we've heard earlier today about the uses of 15118 on
5 the AC side, the uses of 15118 on the DC side, but I think
6 as a German OEM community, we agree that 15118 is the most
7 viable communications protocol and it should be standardized
8 in the U.S.

9 Next slide.

10 I won't read through this slide exactly. But the
11 point that I wanted to make on this particular slide is that
12 we agree that from a central server standpoint, I won't
13 necessarily reference the OVGIP, but that, the OVGIP, is one
14 example of a central server, that a central server can exist
15 and coexist in the same marketplace with 15118, and other
16 protocols, as well.

17 So next slide.

18 So what we see here is that most of the OEMs have
19 made statements and said that all of us agree that in some
20 form at some point we are all going to implement ISO/IEC
21 15118. That's going to happen. I don't think that there's
22 any debate within the OEM community. And I think one of the
23 reasons that we are going to do that is because it is a
24 standard that has been tested and tried. It's a vetted
25 standard, and it does all of the functionalities that we

1 don't necessarily see with some of the other protocols that
2 exist out there.

3 We've heard earlier that some other standards, sub
4 2.0, for example, intend to morph themselves into an ISO/IEC
5 15118 standard, and that's great. We definitely don't have
6 an issue with that. But I think the problem is we need to
7 move now as an EV community. We've spent several years
8 talking and discussion about how the infrastructure needs to
9 be developed. There's been a lot of investment on the
10 infrastructure side. And as far as the OEMs are concerned,
11 we want to make sure that the communication link between the
12 EV and the EVSE is a standardized communication.

13 Pay attention to the lower right-hand corner of
14 the slide on the screen. We recognize that there are
15 several protocols that can exist as a communication link
16 between the EV and the EVSE. What we don't want to see as
17 Daimler, and I don't think ultimately what any of us in the
18 OEM community would like to see, are multiple communication
19 links there because it poses many problems on the
20 infrastructure side.

21 Our EVSE manufacturers/colleagues would then not
22 have a defined specification to design for. There are
23 issues, multiple issues that could be brought forward with
24 MOTS (phonetic), when you have multiple connection points
25 from a security standpoint. So several issues that we see

1 if multiple standards are allowed to exist in that
2 connection point.

3 So what we as Daimler see is the most efficient
4 way to establish a communication between the EV and the EVSE
5 is through one standard, one standard that has already been
6 vetted, and that standard we see as ISO/IEC 15118. It
7 offers all of the functionalities that we need currently
8 today. It's not a standard that has to be developed
9 further, although the standard is continuing to evolve.
10 There are other 15118.2, 3, 4, 5, things that are coming
11 down the line. But where the standard is today, it's at a
12 point where we as OEMs and where we as an EV community can
13 implement it and move forward with an interoperable
14 interface to the infrastructure side.

15 So when we ask the question about what needs to be
16 standardized, there are several points. There's the user.
17 There's the EV. There's the EVSE. There's the grid.
18 What's not pictured here?

19 There's also the backend. We believe that the
20 communication between the EV and the EVSE is critical, and
21 that that connection point should be standardized as ISO/IEC
22 15118, but that does not eliminate the ability for the other
23 stakeholders to use other protocols. The community link
24 between the user and the vehicle can be any protocol that
25 the OEM deems necessary. The communication link between the

1 user and the EVSE itself can also be a barcode or any other
2 protocol between the EVSE and the grid, whatever standard.
3 Whether it's OpenADR or Telematics or whatever is desired by
4 the OEM is available to be used in that case.

5 So when we as Daimler say that we support the
6 implementation of ISO/IEC 15118 between the EV and the EVSE,
7 it does not eliminate the ability for other protocols or
8 standards to coexist, as well.

9 This particular slide, which was animated, which
10 is fine that it's not, but I guess the point to make here is
11 that 15118 offers us a turnkey solution where we're dealing
12 with plug-and-charge, EV authentication, grid load
13 management.

14 These are three very specific use cases that are
15 defined in 15118 and that really allow the EV and the EV
16 end-user, the customer, to have the experience with the
17 vehicle that he's absolutely looking for.

18 What we've determined, and several of the
19 demonstrations that we've had in Europe, and even in our UC
20 San Diego Project in Southern California, is that customers
21 don't necessarily want to be involved up front in making
22 decisions about how the vehicle charges or when it charges.

23 They want these things to happen in the background. They
24 want to know that they're going to happen. They want to
25 have some faith in their EV. They want to know that when

1 they wake up in the morning it's going to be fully charged
2 and ready to go to get them from their point A to their
3 point B, whatever that is.

4 But this is not an exercise that they want to
5 manipulate daily. And 15118 allows that to happen. The
6 consumer can actually, at the point of sale he can set and
7 forget whatever his specific specifications or preferences
8 are in his vehicle and just know that the vehicle is always
9 going to be available and ready for him when he needs it.

10 Next slide.

11 So in the interest of time, 15118 enables the
12 desired customer experience via a standardized communication
13 between the EV and the EVSE. And we as Daimler support that
14 fully.

15 Thanks.

16 MR. SOLE: Thanks. Yeah, so a quick introduction
17 from my side. As Noel already said, my name is Barry Sole.

18 Despite what it says on the card, I don't actually work for
19 Volkswagen, I work for Porsche, which, of course, belongs to
20 the VW Group. I'm privileged enough to be here today to
21 give you a statement on behalf of the VW Group.

22 Noel, if you could go to the next slide?

23 When I talk about the VW Group, I'm not talking
24 about the brand Volkswagen, I'm talking about the collective
25 of OEMs which makes up the group. We're over ten OEMs, and

1 we're all fully in support of ISO 15118.

2 If you could just go to the next slide?

3 What we plan or are planning to do in the near
4 future is really we have a strong push towards electro-
5 mobility. It is a core pillar for our overall strategy
6 within the group. And as you see from the slides, we will
7 produce over 30 pure electric plug-in vehicle models by
8 2025, and we'll account for 2 to 3 million vehicle sales
9 worldwide, which will make up 20 to 25 percent of our total
10 sales. And these vehicles will be 15118 compliant.

11 So again, as Volkswagen Group, we belong to the
12 VDA. Our statement stands true. As Judy already mentioned,
13 we fully support 15118 for AC and DC charging. We see it is
14 also the basis for future load management on several levels.

15 So really right down to the customer's home, it is possible
16 to do load management with 15118. And as I mentioned
17 already, we still start fitting our vehicles with 15118. It
18 does not mean that tomorrow we will have all our vehicles
19 with 15118 supporting all features, but we will start and
20 build up our repertoire of features which we can and do
21 support.

22 What we don't want to see is an extension of
23 really low-level signals like PWM. And we see benefits of
24 using 15118 over SEP 2. I think Judy already did a good job
25 of explaining some of those, such as plug-in charge and e-

1 roaming.

2 MR. CRISOSTOMO: Just to clarify technically, what
3 is PWM, and why is that bad?

4 MR. SOLE: Oh, so pulse width modulation is really
5 sending -- you can send really one signal to the vehicle,
6 which is basically a maximum current. There's no charge
7 planning or anything. The vehicle will really basically
8 start charging. And the EVSE can basically tell him, you
9 can now charge with X ampere per face (phonetic) -- sorry
10 get a big mixed up here with English and German. So it's a
11 really simple way of controlling the charge, but there's no
12 planning involved. You can't communicate prices. You can't
13 delay charging. It's really just telling the vehicle, okay,
14 you may not draw more than ten amperes.

15 You can also only do that. For us in Europe, it's
16 a problem as well because you can only send one signal, so
17 it has to be the same for all three phases. While we're
18 able to charge with three phase in Europe, it's inefficient.

19 We could charge asymmetrically if we had the details
20 available, which will come with ISO 15118 addition, too.

21 Okay?

22 MR. CRISOSTOMO: Thank you.

23 MR. SOLE: All right. Good. So that's basically
24 the statement from the VW Group. You know, we are fully in
25 support of 15118. We will start implementing it. And we

1 are going to build up the number of vehicles we sell per
2 year using this.

3 But there's another issue which I just want to
4 really touch on. It's more a concept. And for us, it's not
5 just vehicle-to-grid integration we should really be
6 absolutely considering here. But it gets a bit broader than
7 that. We also need to consider other large consumers in the
8 house.

9 This is really just an example. If a fridge
10 really needs to be controlled in terms of load management,
11 that's debatable. But things like the boiler, the heat
12 pump, the AC pool pumps, really big consumers, we could and
13 should integrate and manage them in a similar way to the
14 vehicle.

15 One of my main motivations for that is if the
16 vehicle is the only intelligent consumer in the house, it's
17 always going to be the loser in terms of priority. It means
18 every time the boiler switches on, every time the AC
19 switches on, the vehicle or the home cannot do anything
20 else, except tell the vehicle you have to charge with a
21 lower capacity now, lower power. This is not ideal for the
22 customer because some days charging may be more important
23 than heating because he needs to leave early. Other days
24 heating may be more important than charging because he only
25 needs to leave in one or two days' time, for example, on the

1 weekend.

2 So it's just something I really want to plant in
3 the background is that we should also think about beyond the
4 EVSE, so clear statement from our side, EV to EVSE, we want
5 15118, and we believe it should be standardized. But we
6 should also think in terms of other big consumers, how do
7 they play into the whole grid integration game?

8 And in this example here, we see a home with a
9 smart meter and some kind of energy management system kind
10 of deciding which device should turn on and when to avoid
11 blackouts or to optimize costs, and there's two ways to do
12 it. This first way we see here, the HEMS, or home energy
13 management system, needs to know a vast amount of detail
14 about every consumer. When can I pause this device? When
15 can I restart this device? If I restart this device, what
16 state will it be in? It needs to know this about every type
17 of consumer. It needs to know this about every model from
18 every manufacturer. It's simply not possible.

19 It could be that I have such a system and it's
20 working, and I have a Bosch heat pump and they realize, oh,
21 there's something not so awesome in the foam where they make
22 an update. I need to then update my HEMS, that it also
23 understands, how can I manage this device with new
24 parameters?

25 Noel, if you'd go to the next page?

1 A much easier and simpler way to do that is really
2 have everything price based. That means control big
3 consumers in a similar way to the vehicle. Distribute the
4 intelligence, not in the energy management system, but
5 really in the end consumer. And send them price incentives
6 to either charge or consume energy earlier or later or with
7 less power, depending on what they can. This way the HEMS
8 doesn't need to know anything about the heat pump. What is
9 the maximum or minimum that it can consume from the grid?
10 All it has to do is start playing with price elasticity.

11 If it increases the price a certain consumer will
12 say, well, you know what, it's worth me waiting half-an-hour
13 to charge. Because the difference between one or two
14 degrees Celsius, the customer is not really going to notice.
15 And he's home and the vehicle is, for some reason, really
16 pushing to charge at the moment. So you have this
17 autonomous prioritization of consumers in a home, all based
18 on price.

19 And this can also be scaled.

20 If you'd go to the next slide, Noel?

21 So on the left column there I basically have the
22 home example. Somehow coming into the home, let's say
23 through a smart meter, you have some price information
24 coming in. It can be real-time, day-ahead forecasting, it
25 doesn't really matter. And this gets basically sent into an

1 energy management system, which then distributes prices to
2 different consumers, getting them to either charge earlier,
3 later, less power, more power, it doesn't really matter. It
4 just consumes price.

5 Going to the next phase, we will need something
6 similar like this for high-power charging parks, these HPC.

7 In Europe, we are rolling our high-power charging
8 infrastructure, I think 400 or 450 sites across Europe. And
9 these will also need some kind of load management.

10 And this can be done in another way. It could be
11 that we give the customer incentives over 15118. Well,
12 there's really a huge load on the grid on the moment. I'm
13 going to increase the price per kilowatt hour per kilowatt
14 of power that the vehicle charges with. This way some
15 customers will say, you know what, I can charge a little bit
16 slower and leave 10 or 15 minutes later because I'm having
17 dinner here anyway. Other customers will say, no, I'm
18 prepared to pay a higher price because I need to be back on
19 the road as soon as possible.

20 And the last is really how that integrates into
21 smart grid. The message which I really want to send today
22 is, yes, VW, we're going to support 15118. We should also
23 think about in this group there are other devices which
24 should also be integrated into smart grids, and the smart
25 grid should really be a price-based system. What we want to

1 avoid is that the utilities send signals directly to the
2 vehicle, telling it to charge now or don't charge now. This
3 is really not good for the end customer.

4 An example would be in his home at some point he
5 has a smart grid, maybe he has a home energy management
6 system. The utility sends a signal to the vehicle, there's
7 a huge load, you need to reduce your charging power by ten
8 kilowatts. The vehicle reduces its power by ten kilowatts.

9 The HEMS doesn't know why. It offers this additional power
10 to the heat pump or the AC, for example, and it kicks on and
11 consumes six or seven kilowatts. So in the utilities
12 attempt to save ten kilowatts, he's really only saved four
13 or three kilowatts.

14 This is why we should really, from the onset,
15 think about other large consumers being integrated into the
16 grid.

17 All right, and sorry, as policy, I must show you
18 my disclaimer. Please read it all before leaving the room.

19 Thanks.

20 MR. DAVIS: Okay. Thank you, Barry.

21 And thank you all for sticking it out here after a
22 fairly lengthy discussion of all this technical data.

23 This is a special day for me because I've been
24 hoping to see the State of California push this agenda
25 forward, and do so decisively, for quite some time. And I

1 think I speak for all us, that we're all committed to
2 accelerating e-mobility as a method of solving some of the
3 challenges in front of us.

4 But before I get into my prepared comments, I do
5 want to say that I've heard a lot of things today. And one
6 of the things I think is important to emphasize is that the
7 OEMs have a real concern in some cases that they get pushed
8 into doing something before they're ready.

9 I think that what the wisdom of the Utilities
10 Commission ruling was is to say the point of regulation is
11 not the vehicle, the point of regulation is the charging
12 station. And that regulation is meant to lay the foundation
13 for automakers that are planning to implement these vehicles
14 with this ISO standard, as the guidance and the ruling
15 suggested that the utilities conform to in their investment
16 plans.

17 The barrier to do that is going to leave us with
18 stranded investments. We're going to have to have a common,
19 unique standard, and I'm going to start talking about why.

20 So, Noel, if you could go to the next slide?

21 So what is our -- I think you begin each day with
22 the end in mind if you're trying to do something
23 successfully. And here's where I try to capture the vision
24 for California's smart charging. And it's a future where
25 the highest level of cyber security is maintained at all

1 times. In other words, we can't risk bringing down the
2 house with cyber security gaps.

3 Number two, any plug-in electric vehicle owner can
4 safely plug in AC Level 2 anytime and anywhere and be
5 dispatchable as quote unquote "certified resource."

6 So, Delphine, that ought to make you and your
7 colleagues and Jill, make you happy. Because we want to be
8 able to create and destroy millions of DERs every single day
9 without confusing the consumer.

10 Then number three, that helps electric system
11 operators maintain reliable service cost effectively while
12 achieving our state RPS and GHG reduction goals, again,
13 seamlessly, without confusing the consumer. They don't want
14 to know about this. They don't want to schedule their
15 energy. They want the vehicle's intelligence to do that for
16 them, as Judy pointed out. Or impacting their
17 transportation needs. In other words, they didn't buy this
18 car to be a DER. They bought this car to get from A to B.
19 So that user experience has primacy over all else. And then
20 in a way that lowers their total cost of ownership.

21 So in other words, I think that Dave was right on
22 to say, hey, it's time to have some VGI incentives that are
23 real and meaningful and can be translated easily to the
24 consumer so that the consumer and the OEMS can understand
25 them, either as the OEM passing those along or as the

1 consumer receiving them.

2 Next slide please.

3 So I'm going to pass the baton briefly here to
4 Stephan Voit, my colleague from Germany. Back in 2008,
5 Stephan was the original Joint Working Group member that
6 filed with the IEC to create the standard, and has been --
7 you'll go a long time in your life before you meet somebody
8 who knows more about this than Stephan. So I'll turn it
9 over to him for the next few slides, and then I'll come
10 back.

11 MR. VOIT: Yeah. Thank you, Steve, for the
12 introduction.

13 So my former employer RWE is one of the largest
14 utility companies in Europe. And therefore, I have also had
15 on the utility side, just imagine 1 million electric cars
16 with a 10-kilowatt charger, 15 percent of them directly
17 connected to the grid, that makes the power 5 gigawatt. And
18 if you put them on, you will get a blackout within ten
19 seconds. And if you put them off, you will put the energy
20 on the cooling systems of the power plant, so that's not
21 that critical. But you see, it has a high impact on the
22 grid. And therefore, security on the grid is one of the
23 major things.

24 On the other side, climate change and producing of
25 more renewables is another thing. Renewables are normally

1 fluctuating. So not in Southern California, but even here,
2 you can see clouds on the day. And therefore, you have to
3 decide every day, charge at noon or not? And so we need to
4 control the demand, of course. And, yeah, that's more or
5 less all of the ideas we had.

6 When e-mobility will be successful, we need to
7 have standards which agree on these requirements and which
8 respect these requirements. And there a lot of other
9 things, like it shouldn't be that cost intensive.

10 So don't put in a lot of additional stuff, and
11 that was the idea of using the controller which is already
12 in the car for doing the battery management and charging
13 management, and using a small controller which is in an
14 EVSE. Just let them talk and let them make everything, and
15 let them make it on the highest security level we can
16 provide. So information technology or computer science
17 knows how to make it on a safe way. And, yeah, so adapt
18 these functionalities for the mobility sector.

19 That was more or less the ideas the background.

20 And then the opportunity to give additional lines
21 in the system or use the existing lines. And we decided
22 then to use a controlled pilot signal, SAE J-1772 or the
23 international version of IEC 61851. That should be the
24 basis, more or less, communication or signalization on the
25 ground of a communication protocol. Because then we are

1 obviously able to charge the legacy EV cars which don't have
2 any 15118. So we need to have, of course, an opportunity
3 for charging infrastructure also for these cars.

4 But then on the high level, we need a more high-
5 sophisticated thing like communication, (indiscernible)
6 direction of communication. We need perhaps a little bit
7 more bandwidth for future things like exchange multimedia
8 data with car and your home Vex (phonetic) server. Put in
9 files like MP3s or videos in the car.

10 So that was the design. We say, hey, we need a
11 little bit more bandwidth. Use the PLC technology that can
12 be done with the already existing cables. And, yeah, then
13 we talked to a lot of these chip manufacturers and figured
14 out Home Plug Green-Phy could be a solution for this, not
15 too expensive. So if you buy about 1 million of these
16 chips, then you get a good price of \$1.00 to \$2.00 a chip,
17 that's very easy. And, of course, it's one of the major
18 protocols in the world for home internets and has already
19 cyber secure algorithms inside. So doing a pairing, and you
20 have more or less a VPN between both communication things.

21 So a lot of ideas we had on this 15118, and put it
22 into the standard.

23 So next slide please.

24 Just a little bit older, this slide, but you see,
25 we are doing different project teams. And every project

1 teams is more or less responsible for a part of the
2 document. It's not really correct at the time, so we are
3 just doing Edition 2.

4 So PT 1 is now led by a guy from EDF, a French
5 utility company. PT 2 is led by Honda, so Japanese car
6 manufacturers. PT 3 is more or less done. But instead, we
7 have PT 6 which is dealing with Wi-Fi communication and all
8 of the impacts and the difference to the wire-based
9 communication. Then we had PT 5, the green one, which was
10 dealing with security. So a guy from BMW led this group.
11 At the time, we had done all of the analyzers on the Wi-Fi
12 security issues and put it into the documents. Then we had
13 Project Team 6, which was dealing with conformity tests and
14 interoperability.

15 So just to give you a small overview of the
16 standard, the Edition 2 was initiated to directly integrate
17 the Wi-Fi communication into the existing documents and
18 don't have Wi-Fi. That was the first idea, don't have Wi-
19 Fi, in several documents. So just integrate them, that
20 would be much nicer. And of course, we take some additional
21 features into account. So as Siemens is working on, what to
22 call it, trucks and heavy-duty cars, or I'm not sure what
23 the quick -- the name is --

24 MR. CRISOSTOMO: Heavy Duty vehicles.

25 MR. VOIT: -- Heavy Duty vehicles or buses. And

1 we get also a little driven from the Japanese idea on
2 CHAdeMO having energy feedback, so getting electricity out
3 of better retail or whatever, put this also into the
4 standard. The last thing would be very complicated because
5 nobody really knows how to do energy feedback to the grid.

6 In Germany we know a lot of things about this
7 because we have a lot of photovoltaic, like 40 gigawatts of
8 photovoltaic feed in. And we know a lot of problems on
9 feedback to the grid from the other side. So the grid is
10 designed to get it from the power plants to the end
11 customer. And now we're reversing this way, and that leads
12 to a lot of safety issues, of course.

13 Okay, next slide please.

14 MR. CRISOSTOMO: Could you clarify what CIPT means
15 up here?

16 MR. VOIT: Ah, so the total name, maybe this is a
17 good explanation -- or a good question. The working group,
18 which is developing 15118, is an ISO/IEC Joint Working
19 Group, vehicle-to-grid communication interface, and that's
20 V2G CI. And the standard was decided by ISO and IEC to be -
21 - do a logo name -- sorry, do a logo standard, so those
22 logos of both international standardization organizations,
23 IEC and ISO are on the standard. But it's published as an
24 IEC standard, but you can also buy it at IEC. So that's a
25 little different. So the name of the standard is ISO 15118,

1 and the Joint Working Group is ISO/IEC Joint Working Group.

2 A complicated thing. And vehicle-to-grid communication
3 interface says more or less what we are doing.

4 MR. CRISOSTOMO: And what is a PT? I'm sorry.

5 MR. VOIT: Project Teams.

6 MR. CRISOSTOMO: Project Team. Thanks.

7 MR. VOIT: Sorry. Okay.

8 Within the 15118, because it's a protocol defined
9 between EV, which is on the left side, electric vehicle, and
10 charging infrastructure was the gray box on the right side,
11 therefore we called all of the items we have to address
12 within the standard as primary actors. It may be the
13 charger, the battery management system, human machine
14 interfaces, a meter and whatever, conductor on the EVSE
15 side.

16 But we also know that there are secondary actors.

17 So other roles where we have communication with, that may
18 be the ChargePoint operator, of course. So we have to -- he
19 has to monitor and do a lot of things with his ChargePoint.

20 So we know, hey, we need to perhaps sometimes in our
21 authentication of this ChargePoint operator, and therefore
22 we also integrate 15118 data structures and things like
23 signatures and encryption and decryption methods and
24 precisely define what kind of systems you should use to
25 communication with a transport operator. And the same is

1 done for the grid and for the e-mobility service provider.
2 So that's another sense of the 15118. The one who has the
3 end-customer contract. And, of course, getting pricing
4 schemes to the EV that the EV can decide when to charge.

5 All of these communications are not described
6 within 15118, because it's a protocol between EV and EVSE.
7 But the data structures are defined which are going to the
8 backend roles, so the secondary actor roles. And there are
9 just some ongoing projects on defining protocols for this
10 backend communication. So my colleague Craig Rodine has
11 done a new work item proposal at IEEE. There's a new work
12 item proposal at IEC. And there's a single start of one
13 kind of (indiscernible) protocol for the charge point
14 operator at OASIS with OCPP. So you see, the steps behind
15 are just, yeah, in development and figure out. And we hope
16 that we get the things together. So OASIS already agreed on
17 having a liaison with IEC and over the work from OASIS
18 sometimes to IEC so we get an internet standard on this.

19 But there are a lot of open questions, like how to
20 integrate millions of smart grid? And why there are no
21 existing and accepted smart grid standards accessed
22 worldwide? One of the reasons we adopted 15118, some
23 mechanisms which you can use in the small grid worked, and
24 you can make gateways and assume. So we already made a
25 gateway to OpenADR. There may be gateways between 15118 and

1 smart energy profiles. I didn't test it because Smart
2 Energy Profile is not relevant to the European market, and
3 I'm now very new to the U.S. market. So I think it would be
4 also a good idea to have a good look at this. And I think
5 within three months or so you can get a specification on how
6 to exchange data between 15118 and Smart Energy Profile
7 Board (phonetic).

8 And that may cause other standards, like 61850,
9 which is more or less describing object models and the
10 utility environmental, and EDF, so the large -- I think it's
11 the world's largest utility company, they can show you also
12 15118 between EV and EVSE, and then 61850 from the EVSE to
13 all of their systems in the background. So that's already
14 done. That can be seen in Paris on the left. So you'll see
15 it. It's working together.

16 Next slide.

17 Yeah, I think most of these things on this slide
18 already tells you. So reliability, of course, we heard
19 about backend communication. We know cell phone providers
20 are normally working. But even if you have a heavy load,
21 you get delays and you have to have automated usage of the
22 data you have locally, and then find solutions for that,
23 scalability, low-cost service, security we've already talked
24 about, and simplicity for the consumer. So plug-and-charge
25 is what -- some people are talking now the Tesla model, so

1 plug in and your car will be charged. That was done already
2 in 2009 with Daimler cars and (indiscernible) charging
3 stations, so that's not new. And that's, of course, the
4 base of plug-and-charge in 15118.

5 So that's simplicity for the user. And the user
6 doesn't have to know anything about the grid because the
7 only parameters is I want to departure at 6:00 in the
8 morning and my car should be filled up. That's the only
9 thing that a car -- a user should be doing. It can provide
10 it as a quick leave profile perhaps, then you don't have to
11 do anything more, only, hey, today, evening, I need it much
12 earlier than next morning. So that's done in the 15118
13 already.

14 Next slide.

15 And just a short overview, 15118 was made by
16 nearly 140 registered experts. Certain countries developed
17 actively on this standard. An additional 40 companies were
18 reading the standard and doing comments on this. And you
19 see, it was -- one of the standards was a lot of -- the most
20 written comments on it, so get it really worldwide working,
21 getting PAC technology accepted by China and Korea and
22 whatever. So it's a really widely accepted standard. And
23 even for the OEMs, the car manufacturers, it's relevant to
24 have one standard which is working worldwide and don't have
25 national standards to respect, so that's easier to

1 implement.

2 Next slide please.

3 Yeah, the CCS. We heard a lot about CCS in the
4 morning. So combined charging system for DC is based on
5 15118, of course. The DIN Specification was a shortcut to
6 give us. In Germany, it's a kind of technical report. And
7 it allows you to bring cars on the market or EVSE on the
8 market. And more as a short track, you can get a DIN
9 Specification within six weeks. And then all of the work
10 from the DIN Specifications was handed over in 15118. So
11 all of the DIN SPEC was 100 percent 15118. Then we had to
12 comment phases, one on the DIN SPEC and one on 15118. And
13 then we missed a little bit to put in all comments in the
14 second edition. But this will be done now in the second
15 edition of 15118, so Edition 2. And then DIN SPEC will be
16 killed or rejected from the market. Volkswagen Group
17 already exchanged the protocol sticker on the cars from DIN
18 SPEC to the final version of 15118, Edition 1. Other car
19 manufacturers may follow on this.

20 So if you have a DC implementation on 15118,
21 they're normally also done for AC. There are two additional
22 very easy messages. And all of the hot -- one is real-time
23 protocol sequences for DC charging, so control with the off
24 board charger, you can throw out for AC charging, and then
25 you are mostly done. So a very, very easy thing. Everybody

1 who has CCS in his portfolio can also have AC Charging.

2 MR. DAVIS: Thank you. Okay.

3 So once again, just to really bring this -- go
4 quickly through this, the heart and soul of smart charging
5 is a couple of little pieces of data, which 15118
6 accomplishes by getting the needed kilowatt hours and
7 departure time from the vehicle. The needed kilowatt hours,
8 it's not state of charge, it's actually how many kilowatt
9 hours. Because state of charge could say 50 percent, could
10 mean different things to different vehicles. And then
11 departure time enables the vehicle to receive a tiny little
12 file called a tariff table. And then at that level it's
13 basically the vehicle's intelligence of selecting when to
14 charge and how much energy to charge at what power levels.

15 So it's taking the grid and saying, okay, primary
16 is the range needs of the vehicle owner. And so the vehicle
17 is actually the master in the relationship, and the grid is
18 actually the slave in the relationship. So when the vehicle
19 selects its grid plan and prices, unless there's something
20 really bad going on with the grid, you can't take that away.

21 And that's an interesting aspect of this. This is one of
22 the reasons why my colleagues here like this standard. It
23 protects the EV owner.

24 But at the same time, as we mentioned before, we
25 create a DER model that makes these vehicles dispatchable,

1 re-certifiable resources that can come to the aid of the
2 transmission system operator and be bid into energy markets.

3 So we have something that gets us past the L.A. Air Force
4 Base thing where it took a year-and-a-half to figure out how
5 to bid things. We don't -- that won't work. That doesn't
6 scale. So again, standards is the way to go.

7 Next slide.

8 So, yeah, this is, again, we're trying to deliver
9 a complicated thing where you see those P-Node prices that
10 are all over the map in the State of California. Some of
11 them are bright red which is over \$200 per megawatt hour,
12 and some of them are bright blue which is under negative
13 \$50.00 per megawatt hour. We need to deliver that
14 accurately. And when we look at that slide, each one of
15 those dots is kind of like a galaxy.

16 Down beneath that -- next slide -- we have a
17 deeper picture where we can see high penetrations of PV and
18 a distribution where have not a duck but little ducklings.
19 And you need an intelligent methodology of scale to take to
20 that scalable data and give them grid profiles that enable
21 it to harmonize with what's going on locally, as well as
22 regionally and statewide. So we did a study of that in 2015
23 and found that the standard worked beautifully to enable
24 that to happen without compromising anybody's range needs in
25 a simulation scenario.

1 Next slide.

2 The demand clearing house, as Stephan said, we've
3 built one. It is -- I've heard it said that that's little
4 old Kngrid, or Steve with, you know, one guy with a
5 wheelbarrow trying to monopolize the market. That's not
6 true. This is an open standard. Anybody can do this. This
7 is not anti-competitive. This is not a power grab. This is
8 trying to move the ball down the field and help this work.

9 So, yes, we have this working and we're able to do
10 this. My wife is able to smart charge her car because it
11 has 15118 on it. She enters departure time, and we are
12 getting the 15-minute market delivered to the vehicle, and
13 the vehicle responds as you would want it to respond.

14 Next slide.

15 So, yeah, you get a power level table and sort of
16 a relative price table that the vehicle then sees and makes
17 an optimal selection from.

18 Next slide.

19 Yeah, so we do have that up and running now.
20 We're taking prices from the CAISO's OASIS system in the 15-
21 minute market and the day-ahead hourly market. We also have
22 an OpenADR 2.0b virtual end node that we're able to receive
23 demand response signals and can send those curtailment
24 signals in the form of a 15118 tariff table.

25 So there's no issues here. And a demand clearing

1 house is something that is, you know, available at fine
2 cloud-based solution stores everywhere. You would be able
3 to build one yourself or license one for most software
4 providers. But utilities would be able to basically have
5 these or a thin client version of this for themselves and
6 enable that to scalably handle the data.

7 Next slide please.

8 So here's the actual demand clearinghouse user
9 interface. You can see a charging session there. I think
10 that one was at UC San Diego where we have quite a few of
11 these vehicles in place and where we were sending, I think
12 those day-ahead hourly prices. So you can see the shaded
13 blue area would have been uncontrolled charging. And the
14 blue line is what was actually selected by the vehicle,
15 based on the price dips, which you can see in the yellow
16 line above.

17 Next slide.

18 The reason I think we have a lot of compelling
19 evidence to say that the 15118 makes sense for California is
20 because of, Carla, your earlier comments, that this is a
21 global signal. We are not going to solve climate change by
22 ourselves. We need to be the tent pole for other countries
23 around the world to follow what we're doing. And we have
24 global players in the form of automakers that are trying to
25 deploy these products, not just here in California or

1 nationally, but worldwide.

2 I do take Adam's point very seriously, that he has
3 a telematics solution right now. But nothing in the
4 investment plans that would include 15118 charging stations
5 would stop him from continuing to dispatch his vehicles
6 using telematics.

7 So next slide please.

8 On top of that, I did want to mention, at
9 Marrakesh just recently, Germany and the California
10 Environmental Protection Agency jointly agreed to expand
11 cooperation on climate and the environment, and agreed to,
12 you know, expand cooperation on renewable energy, energy
13 efficiency, and climate-smart technology. So again, we had
14 a historic moment in Paris in December of 2015, and that was
15 a great moment for planet earth. We all got together and
16 then we ratified that at the U.N. in New York. But the
17 whole purpose of that was not just to go back to our
18 countries and start going back to business as usual, it was
19 to change the game and to begin to collaborate with global
20 solutions to this global challenge we face.

21 So I understand, when I say things that are
22 provocative, like, okay, we're out of time, put our pencils
23 down, it's time to act, because we've been having this
24 stalemate now for several years, and it's time for us to,
25 you know, quickly bring this debate to a conclusion and move

1 from paralysis to action.

2 Next slide please.

3 And just a closing comment, you know, successful
4 movements and companies always start with why. And looking
5 there, you see somebody who knows how to sell a message.
6 Well, he was selling a product there. He was selling a
7 product he didn't even have, and he sold a lot of them, and
8 he started his first five minutes selling that product with
9 why, and that works.

10 Apple does that too. They don't say we build
11 great computers and we do it with elegant designs and great
12 user interfaces. They say everything we do we believe in
13 challenging the status quo. We do that with elegant designs
14 and compelling user interfaces. It starts to feel like an
15 extension of who you are. We just happen to make a
16 computer. You want to buy one?

17 That's different. And that's what he's doing, and
18 that's what we need to do as the State of California, even
19 as a government, we need to bring on the revolution.

20 And so I'll close with this. This is the last
21 time I'll be appearing as KnGRID. We're changing the
22 company's name to Oxygen Initiative because we're going
23 towards commercialization. So a little reluctant to say
24 goodbye to it because I've been doing it for so long. But
25 anyway, I thank you all for your time.

1 MR. CRISOSTOMO: We're going to go to a WebEx
2 question. Sam, so if you could turn on Max Baumhefner from
3 NRDC.

4 Go ahead, Max.

5 MR. BAUMHEFNER: Hi. Noel, can you hear me?

6 MR. CRISOSTOMO: Yes. Yes, we can.

7 MR. BAUMHEFNER: Okay. Great. Thank you.

8 So first off, I just wanted to know to lend my
9 support for the goal of this whole enterprise to, you know,
10 accelerate vehicle-grid integration, which I think is very
11 consistent with the goal of the State of California by
12 adopting SB 350. And thank the PUC for kind of forcing the
13 issue a bit.

14 I'd note that I don't think I am particularly well
15 positioned to choose the right technological pathway. And
16 I'm not yet sure that the PUC is prepared to do that either.

17 However, I would note that the PUC is singularly positioned
18 to set a goal and provide a market opportunity for the right
19 technological solutions to emerge. And I think other
20 presenters have shown this throughout the day. And it
21 strikes me that making VGI or V1G an eligible resource
22 within the Commission's existing energy storage procurement
23 mandate would be the single quickest way to create that
24 market opportunity. We would note that the PUC asked
25 earlier this year whether to revisit the eligibility of V1G,

1 which is identical to ice storage from a physics
2 perspective in terms of its functions and the support
3 services it can provide to the grid.

4 And then I'd just note that it's hard -- I think a
5 lot of the presenters made a lot of compelling cases today.

6 And we'd just note that we have to also keep in mind cost
7 and ensure that we're not locking ourselves on any
8 particular technological pathway that would cost more to
9 implement than the value of the grid services it could
10 provide, or the economics of all this could fall apart very
11 quickly.

12 So I think we need to keep multiple
13 technological pathways alive, both those that use so-called
14 smart networked charging stations, and likewise, those that
15 rely upon cheap reliable dumb charging stations and take
16 advantage of smarts that are already embedded in the
17 vehicles, like the one that Adam presented earlier.

18 So with that I'll close, and thank Noel and the
19 rest of the those who have organize this very informative
20 presentation today.

21 MR. CRISOSTOMO: And our next questions, we have a
22 few minutes before we need to go, Craig, then Mike, then JC,
23 Nikki, and Dean.

24 MR. RODINE: Commissioner Peterman and everyone
25 else, thank you very much for the opportunity to talk. I've

1 really enjoyed and been stimulated by a lot that has been
2 said so far.

3 My name is Craig Rodine. I'm Director of
4 Standards at ChargePoint in Campbell, California. I've
5 asked the support folks to bring up a few points. I think I
6 don't have more than just a few moments.

7 If you could that in presentation, then we're off
8 to go. Ready to go. Thanks. Next slide.

9 So I just wanted to summarize ChargePoint's
10 perspective right now. We think that the 15118 series of
11 standards is ready to go in terms of being a viable
12 technology, not only for what's happening now. As you've
13 heard, it's the fundamental core of DC fast charging today
14 that's being deployed all over the country by multiple
15 service providers on multiple OEM vehicles, including some
16 made in Detroit. But I'm involved in the standardization
17 efforts where it's looking forward to wireless charging and
18 advanced features like two-way energy flow. So from a
19 standards point of view, it's the real deal.

20 We're investing in it, not only be participating
21 actively in the standards, but also in an R&D project funded
22 by CEC where we're putting this communication's interface on
23 our home product. And we're able therefore to deploy that
24 into all different utility VGI programs. And we're well
25 involved with SDG&E on theirs, as well. So we believe it

1 will land there.

2 We're also keen to point out that we usually do
3 things because car makers tell us to do it. You know, we're
4 not in charge, so to speak. And we know that the auto OEM
5 roadmaps, as you've heard, all include this DIN and 15118
6 technologies. So we're not risking a whole lot in saying
7 that it's solid.

8 We do know that the way the standard is written,
9 there were some initial business models, including a utility
10 role, which no surprise, it doesn't match what's here five
11 years, six years later in another environment in California.

12 I'll have some cartoons that show that very clearly and
13 what we think we can do to tame it, if you will, or to embed
14 it into what we're doing, particularly the roles and
15 motivations of site owners and service providers are, let me
16 just say, inadequately defined. We don't think that's a
17 show stopper, but we think that we can help with that.

18 And then finally, transitions and scale matter. I
19 know that a lot of times we look at these standards and
20 architectures as though they're running and they're at
21 massive scale, but there's very important things to consider
22 in the transition.

23 And I just want to point out that if you look at
24 the number of kilowatt hours in batteries rolling around in
25 cars today and the vast majority of them are from a

1 proprietary company that we just heard about, and that may
2 continue to be the case if they sell as many vehicles as
3 they look like they're going to do so that nothing we do
4 here will effect that until and unless they get onboard. So
5 we will always have non-standardized cars. And our job is
6 to charge every car and offer as many of those batteries to
7 the utility for their purposes as possible. And this is why
8 I'm saying the network is still very, very important.

9 Next slide please, Noel.

10 You know, I picked this right up. And I just want
11 to say that that's sort of a very partial view of things.
12 That's not the scope of 15118.

13 One more click.

14 That's the scope of 15118 going from the vehicle
15 through the station, the charging station, and all the way
16 back to a secondary actor. And as I said, the work that was
17 done primarily by RWE and others was to think of the utility
18 offering prices for energy. There are many other services
19 that a site and a network can offer the driver. But this is
20 really what I think the current scope of Edition 1 is.

21 Next slide please.

22 As I said, the role of these secondary actors and
23 the number of them and the pathways that you can follow to
24 get to them is rather loosey-goosey. So this other set of
25 dotted lines could show communication pathways from the PEV

1 to using 15118 to various actors, as well. I just wanted to
2 point out that that's the work that has to be done.

3 Next slide please.

4 So this is what our CEC-funded project looks like.
5 We're supporting the part of 15118 for AC charging between
6 the electric vehicle and the charging station. We're
7 communicating what needs to be carried from our charging
8 station through a network connection to our cloud, which is
9 15118 payload and supports all the use cases that they
10 originally came up with, and could indeed go all the way
11 back to the utility. We think for technical and practical
12 and business reasons that we would be the secondary actor
13 and we would terminate that -- we would serve those 15118-
14 capable cars, while serving all the rest of the EV plant.
15 And we, like many others, are using OpenADR 2.0b as our
16 energy management interface with the utility. So we would
17 take those signals as they're being used for commercial and
18 industrial DER today.

19 We're actually involved in creating new signals
20 that have to do specifically with EV charging, because
21 that's kind of an unknown territory. And in those signals
22 you encapsulate all of the motivations of the driver, the
23 site owner and the utility. So we're working with utilities
24 to do that, and we think OpenADR 2.0b is the right interface
25 for that.

1 That's pretty much what I have.

2 Oh, and I would just say that the actors on the
3 left or the boxes on the left there we've found not to be
4 relevant. There was a plan that the AMI meter would have a
5 home interface. There's a plan for separate energy services
6 interface and home energy management systems, but everything
7 seems to be going up in the cloud, including the most
8 successful home energy management solutions right now, with
9 a little bit of local connectivity. But, for instance, our
10 home station isn't required to connect to anything else on
11 the site, it goes to our cloud. And that's a very efficient
12 and direct way to do a lot of the emerging business cases,
13 is to do it cloud to cloud, so that's how we're oriented.

14 I think that's all I have to say. And I would
15 just conclude by saying we see no technical show stoppers.
16 In fact, we're excited to use 15118 and promote it, you
17 know, well, to promoting it in the sense of technically
18 implementing with our OEM partners. We do think there's
19 more work to be done.

20 And then to the point of value and figuring out
21 what this is really -- all the economics we've been talking
22 about, I'll just -- this is a personal challenge to the
23 industry. Let's make an open source, completely available
24 model, it could be an Excel spreadsheet, that has the
25 ability to turn up and down the number of EVs deployed,

1 where they're deployed and their concentration on grid
2 elements, like a circuit or underneath a substation, the
3 customer/driver and site owner incentives and the percent
4 participation so we can dial that up and down, and then
5 value of the -- the dollar value of those DER and energy
6 services, if we have that we can start looking at how many
7 cars are sold, the empirical evidence of which drivers buy
8 in for how much money. And we can really understand when
9 the grid is going to be impacted, and how.

10 With that, I'll conclude my comments, and thank
11 you again very much.

12 MR. CRISOSTOMO: So it sounds like we're
13 transitioning mostly into the next half-hour. We have 22
14 minutes, and I saw a ton of hands. I also received a pre-
15 made public comment from UCSD.

16 So if I could see the next set of hands, we can
17 allot that in the next 22 minutes, please. Hi. Okay. So
18 I'm going to just move from the right to the left.

19 Mike, Tyson, so let me just get everyone's names
20 down.

21 Adam, Dean, Nikki. I'm just -- so I'm flanked.
22 Tyson first.

23 COMMISSION PETERMAN: I just know, I need to step
24 out, but there's lots of PUC folks in the room, and I will
25 be back. And I look forward to hearing more.

1 So, Amy and Mel, particularly, take good notes in
2 the next session. Thank you.

3 MR. CRISOSTOMO: So please keep it brief. We have
4 six, and starting off with Tyson.

5 MR. ECKERLE: Great. This is a quick question,
6 actually, for Craig.

7 For the stations that are 15118 enabled, is there
8 a considerable additional cost, or what's that? Is there a
9 way to answer that without --

10 MR. RODINE: As well as I could. It's not a big,
11 I'd say substantial bill of materials change. I think the
12 cost is in the experience, I mean, going to these standards'
13 bodies, implementing the software. Luckily, we got a very
14 generous grant, and it's pretty much covered for integrating
15 that into our newest station. But it's not, you know, a
16 blocker for commercial business, even on a small \$500, \$600
17 home station.

18 MR. CRISOSTOMO: Okay. Mike?

19 MR. BOURTON: Mike Bourton, Kitu Systems.

20 I just want to go back to the cell phone analogy
21 because it's as simple model, it's proven to work. And
22 we're actually constraining ourselves if we're not careful
23 because I think it's the underlying architecture we should
24 be discussing. The cell phone's got 100 apps or more on
25 this phone. I can tell you it's talking to 100 or more

1 servers. And it's probably using 30 different protocols to
2 do so.

3 It also has many interfaces it can talk over, and
4 there's each a use case for each of those interfaces. When
5 I talk, I can talk over a cell, telematics. I can talk over
6 Wi-Fi, let's call the EVC/POC (phonetic). I can talk USB.
7 I can talk Bluetooth. And my amps work over any of those
8 interfaces. And the reason it works over those interfaces
9 is because it actually makes a connection, not to the
10 intermediate device, but it makes it to the end device
11 server.

12 So, for instance, when I join a Wi-Fi access point
13 with this device, I do communicate initially with the Wi-Fi
14 access point. But I then, once approved to connect through,
15 connect to the server of my choice. That means it could be
16 the utility, it could be an aggregated, it could be EVSE
17 service provider. In the future it could be a neighbor,
18 where I'm trying to buy energy from. But what I don't do is
19 I don't force the protocol to be between here and the Wi-Fi
20 access point. That is a limitation. If we did that, this
21 phone would not be in your pocket today.

22 Because the success of this phone, it's got a
23 billion apps. And they all talk different protocols, but
24 the good thing is we make a connection, once we get to the
25 Wi-Fi access point, between that and the server. So making

1 a constraint over that and the Wi-Fi access point would be
2 dangerous.

3 And another point I want to make is if we did so,
4 then there is a cyber security issue. Because 15118 defines
5 between the EVSE and the EV only. When it gets there, we
6 talk about a different protocol. That means we have to
7 decrypt the channel and re-encrypt it to the source. That
8 is a cyber security issue. (Cross Talk) Yes, it is.

9 MR. CRISOSTOMO: Okay.

10 MR. BOURTON: Because it only could be understood
11 by the two parties involved, which is the utility and the
12 electric vehicles.

13 MR. CRISOSTOMO: I'm going to have to call
14 moderator's technical conversation for after -- now because
15 we have five people. And, sorry, before Adam, UCSD
16 submitted a comment, and I promised them before.

17 Where's Byron Washom?

18 John, maybe like three minutes? Sorry.

19 MR. HOLMES: And actually, I'm going to be even
20 less than that, so I'd like to be very efficient about this.

21 Just simply to state that the ideology behind
22 15118 is essentially utility-centric. It's been brought
23 before us with great success due to the dedication from the
24 European contributors to that standard. And the ability for
25 it to accelerate this whole process forward to achieve

1 statewide goals is essentially the fastest path toward
2 implementation, and we need to track that. I'll cite
3 previous examples of TEPCo's involvement in CHAdEMO, RWE, in
4 like fashion accelerated the focus, made a three-year
5 effort, and has delivered essentially a fully functional
6 implementation. And the ability for that body of work to
7 influence the global stakeholders here, I think is
8 significant.

9 So we're very appreciative of all of the efforts
10 that have come forth. We are very fortunate at the UCSD to
11 be the first North American demonstration site for 15118.
12 And we're looking forward to accelerating that even further.

13 MR. CRISOSTOMO: And this was going to be included
14 in the record.

15 MR. HOLMES: Well, I'll leave this for review
16 publicly. I will not talk to more slides here in the
17 interest of time.

18 MR. CRISOSTOMO: Okay. Thanks.

19 So the queue is Adam, Dean, Nikki, JC. And just
20 so that we get everyone, I'm going to enforce a time limit.

21 MR. WASHOM: Okay. Thank you. My name is Byron
22 Washom. I'm Director of Strategic Energy Initiatives at UC
23 San Diego. And I come here today with a little different
24 perspective.

25 I've become a site host, no different from any

1 other campus, airport, harbor, apartment building and condo.

2 And I very much appreciate the comments from Ford and
3 others on the line today about taking into consideration
4 what the site hosts are. Because it gives me a great
5 perspective of the needs of this industry, the standards and
6 the needs for communications in order to optimize in the
7 future.

8 Just to put it in perspective as a site host, we
9 bought 50 Daimler smart cars this year. We have created an
10 affinity lease program with four different vendors, BMW,
11 Daimler, Ford and Nissan. And in the last month alone we
12 added 80 new EV commuters to our pool on campus through
13 those affinity lease programs. And this morning, Nissan
14 authorized me to make the statement that they are extending
15 their \$10,000 cash rebate on sales to our student, faculty
16 and staff for their 2016 cars, will now be applied to 2017
17 cars. Not only that, is they want to extend that same UCSD
18 offer to all other nine campuses and all other three
19 national labs that we manage. That is over 190,000
20 employees and 280,000 students for that particular program.

21 And the BMW, the Daimler and the Ford Dealers are equally
22 attractive.

23 So I'm very blessed and excited that the other UC
24 campuses and national labs are going to become big site
25 hosts, exactly like us.

1 But in that perspective, we also understand, and
2 this is the point I wanted to make, is out of all of our
3 drivers, all of our commuters, they are hungry to have more
4 features with this tool that they have. They read about it,
5 they dream about it and they hear about it, and dammit, they
6 expect it. And so it's very hard for us to say be patient.

7 And thank you, Commissioner Peterman, for soon,
8 2017 will be the year we make decisions, so we can get on
9 with it because there's a lot to be done. And when you deal
10 with the issues of affordability, which I think we've
11 cracked the nut now with these four OEMs. And the issue of
12 accessibility by providing a variety of different charging
13 stations --

14 (Timer beeps.)

15 MR. WASHUM: My time's up? Then in that case --

16 MR. CRISOSTOMO: Finish your sentence.

17 MR. WASHUM: -- when you crack the nut of
18 affordability and accessibility, you then have the ability
19 to have vehicle-grid integration between the fleets, the
20 workplace and the public. Thank you.

21 MR. CRISOSTOMO: So Adam, Dean, Nikki and JC.

22 MR. LANGTON: Hi. Adam Langton, BMW. I just
23 wanted to clarify BMW's position regarding 15118, since Judy
24 was offering some slides and our logo was on there.

25 BMW does support research on 15118. We've said

1 that numerous times. We've filed with the Commission, I
2 think at least three times where we've described our
3 position regarding 15118. We do support research on it. We
4 think there's value in exploring research on it.

5 We do not support the adoption of a single
6 standard, a single exclusive standard to use for smart
7 charging. We've said that in our comments numerous times.
8 So I would encourage folks, if they're curious about what
9 the BMW position is, look at the comments that BMW has filed
10 with the CPUC in proceedings on this.

11 In regards to one of Stephen Davis' comments
12 regarding what the Commission has already decided on this,
13 the Commission, as far as I understand, and I would defer to
14 Noel or anyone else who has been involved in this, the
15 Commission has not determined what the resource is in VGI.
16 They've not ruled on that.

17 We heard from Amy earlier saying that the
18 Commission has not determined that it will pick a standard,
19 that it will pick a single standard on this, that I can't,
20 it doesn't have the record to do that.

21 So if there's confusion on this, I'd encourage the
22 folks from CPUC to offer some more -- to reiterate the
23 things that Amy said regarding what the Commission has
24 actually done on this.

25 And regarding the OEMs approach to this, Stephen

1 Davis suggested that we don't want to do a single standard
2 right now because we don't want to move too fast on this.
3 And I think you heard earlier myself, and you heard Ford, as
4 well, saying we just don't think that picking a single
5 standard is a way to move quickly on this, that is we don't
6 think that that is the way to move quickly. Because we
7 think that the primary barrier to this is a pathway to get
8 to the value, and then a defined revenue from that value.
9 And so we would encourage the state to focus its efforts on
10 that.

11 We do support the process for exploring standards.

12 I think we've seen that there's a lot of ambiguity, of
13 misunderstandings on this, and I think we can address that
14 through the working group that the Commission suggested. So
15 that's something we strongly support, as well.

16 And I think in addition to the time to market, you
17 know, Max mentioned like one of the factors you want to
18 consider is cost, and you want to consider time to market.
19 So I think if we're considering a single standard approach
20 that we want to universally adopt, we've got to consider
21 what impact that that's going to have on the time to get to
22 the market. I've shown you a telematics approach that works
23 now and can work for thousands of vehicles immediately.

24 Thank you.

25 MR. TAYLOR: Hi. Dean Taylor, Southern California

1 Edison.

2 And in addition to my earlier comments supporting
3 the working group to think through all the different, you
4 know, end solutions and come up with 20 or so criteria and
5 work through all the details, there's another thing I'd like
6 to say that Max Baumhefner from NRDC mentioned, which is
7 there is a solution that a very unusual coalition has been
8 supporting for over two or three years, which is basically
9 to add smart charging to the definition of the storage
10 mandate. And in written comments, this unusual includes a
11 ratepayer group, TURN, the Automaker Alliance and several
12 individual automakers, the three investor-owned utilities,
13 NRDC and ChargePoint. You know, that is a pretty unusual
14 group of people, basically saying that if that was added you
15 would suddenly have an actual real value to all of this.

16 I did want to, you know, emphasize that as
17 something that's been out on the table for over two years as
18 a way to actually jumpstart this market. I think it's a
19 really interesting, you know, outside the box solution.

20 I think there are some other interesting things.
21 We haven't talked a whole lot about rates, but rates,
22 whether they're simple or dynamic, are also in the
23 definition of vehicle-grid integration. I think you'll see
24 some very innovative things coming out in the next few years
25 as far as the, you know, time-of-use rate things where

1 you'll see some very low prices in the middle of the day.

2 I say that partly because I think we're
3 underestimating consumers. In the last 10 years, I've been
4 doing this 26 years now, we've seen a lot of surprises from
5 consumers. Nobody expected that, you know, basically
6 roughly three-quarters of the people who are charging at
7 home are not using EVSE. They're using either NEMA 1450
8 cord things that Tesla uses or they're using cordsets. So
9 they're just smart. This is a cheap solution.

10 And I think another thing is that people are using
11 time-of-use rates a lot. I mean, if you're driving 12,000 a
12 year you can save like \$800 a year just going from \$3.00 a
13 gallon gasoline down to \$1.00 a gallon gasoline. That's,
14 you know, a huge value of VGI that's already happening
15 today. There's programs in the future, like the Low-Carbon
16 Fuel Standard, the utilities will be rolling out that will
17 get hopefully -- one of the main intentions of that is to
18 get adoption of these time-of-use rates dramatically up.
19 You know, 40 percent is way too low. We need to have many
20 more people, you know, on these rates.

21 And in general, I think people are just smart.
22 They're very economic animals. A lot of like plug-in hybrid
23 drivers won't charge at work, you know, because it's too
24 expensive or there's too many penalties. So, you know,
25 don't underestimate the consumer, I guess is my -- you know,

1 what I'm trying to say on this last set of comments here, is
2 that that's a really big part of all of this. People aren't
3 going to pay huge networking fees, you know, unless they get
4 more back, which was, I think, another point that Max was
5 making.

6 Thank you.

7 MR. COLDWELL: I've got just a quick question.

8 The proposal to add the smart charging to the
9 storage mandate, was that comment submitted into the CPUC's
10 storage proceeding?

11 MR. TAYLOR: Right.

12 MR. COLDWELL: Or is that just something that's
13 happening outside of the discussion that's happening?

14 MR. TAYLOR: No, in the storage proceeding. The
15 last round of comments, I think were filed February of this
16 year.

17 MR. COLDWELL: Thanks.

18 MS. DELEON: Good afternoon. My name is Nikki
19 DELEON, and I work with EVgo. Thank you for this
20 opportunity to speak. I would like to say that EVgo has
21 worked with a number of V2G and VGI programs in the State of
22 California, New York, and also in Delaware. And so I wanted
23 to address one of the comments about L.A. Air Force Base,
24 because I think that they did something really exceptional.
25 And while it took them a year-and-a-half, they were able to

1 off-board power from the vehicle and participate that
2 electricity back into the grid.

3 So from my understanding, 15118 as a standard
4 doesn't currently include that in the standard, but it would
5 come in future versions and iterations which could be almost
6 two years out, if not more, for what those next versions
7 could be. So I think that, you know, really exploring what
8 those value opportunities are, especially because we have, I
9 think, what is it, 42 opportunities for energy storage in
10 the market, and the vehicle is really about energy storage
11 being on wheels. So is there a faster opportunity to
12 incorporate that, especially within 2017?

13 So also, EVgo does support a workshop where there
14 is an inclusive process to discuss all these.

15 Thank you.

16 MR. CRISOSTOMO: So then in your remaining time,
17 Nikki, I was going to ask to try to generate conversation.

18 V2G is an electric vehicle technology that is
19 currently eligible under the storage mandate. So if the SAE
20 standards would allow for V2G capabilities, and given that
21 market signal, why are we not seeing V2G vehicles?

22 MS. DOLIO: That's a good question. I believe that
23 it's going to be a cooperation between utility access, and
24 also OEM, and specifically driver interest. So if there's a
25 market available, are the drivers interested in reducing

1 their cost of ownership through participating with their
2 vehicle and these types of services? And with the OEMs
3 create that type of technology on the vehicle so that the
4 drivers could then access that type of market.

5 Also, about utility access, the proposed
6 rulemaking does have some language in their specifically
7 about incorporating SAE standards for Interconnection Rule
8 21 so that it streamlines and opportunity for vehicles to
9 participate as a generator service on the grid. But there
10 continues to be a number of barriers to participation, least
11 of which is the communication aspect. But to continue to
12 address those barriers so that we can have vehicles
13 participating as the energy storage.

14 MR. CRISOSTOMO: Okay. Thank you.

15 Maybe JC can respond to --

16 MS. BRUNSON: Excuse me, Nikki. You commented on
17 15118 not having the current capability to support reverse
18 energy flow. I would just offer that the standard will be
19 available before the OEMs are offering reverse energy flow
20 vehicles in the market, so --

21 MS. DOLIO: Nissan currently has a reverse energy
22 flow vehicle in the market. Now, while there are still
23 barriers with warranty on the battery, you know, the
24 technology is already onboard the vehicle. And actually, at
25 UC San Diego, EVgo is currently working with Honda. And in

1 previous projects, we've also worked with BMW. So there are
2 a number of vehicle manufacturers who do currently offer
3 this technology.

4 MS. BRUNSON: Technology is available, yes. I'm
5 talking production, but, okay.

6 MR. CRISOSTOMO: Okay, JC?

7 MR. MARTIN: Thank you, Noel.

8 Thank you, CPUC, Governor's Office, CEC for this
9 today.

10 I'm JC Martin from San Diego Gas & Electric. And
11 I just want to provide some comments which are based on our
12 current Vehicle-to-Grid Integration Project that we're
13 rolling out right now, our infrastructure project for
14 multiunit dwellings and workplaces.

15 I see three key data exchange needs for any
16 standard, and that is basically the driver preferences and
17 needs, the prices that they're going to have to pay, and
18 then how many kilowatt hours they need. And I think from
19 today, I get the idea that 15118 meets those needs, although
20 there's probably other technologies and standards out there
21 that can possibly do the same thing.

22 When I went back and looked at the ACR from
23 November 14th for the TE, transportation electrification
24 work, Appendix B, the multiple criterias that were laid out
25 there, I boiled it down to three key criteria for a

1 standard, driver-customer oriented, it drives down costs for
2 whatever the solution is, and it also allows for smooth
3 integration with the grid.

4 So looking at it through that lens, I think it
5 makes sense if we do think about an extra working group so
6 that we can make sure that we can really refine the what and
7 the how. Maybe 15118 is it. Maybe there's tweaks it needs.

8 Maybe there's use cases we have not identified. I really
9 think it makes sense that we can, you know, leverage what
10 we've done in a DER proceeding, especially Rule 21. And
11 combining all that into some standards' work, I think would
12 really help the state and the drivers and the OEMs, and the
13 other market participants, as well as the ISO and SDG&E's
14 customers.

15 Thank you very much.

16 MR. CRISOSTOMO: We have 70 seconds until we need
17 to transfer to Frances.

18 Any other last comments? Quickly.

19 And, Frances, we can start moving you up, wherever
20 you want.

21 Go ahead, Rich.

22 MR. SCHOLER: Yeah. I just -- of course, I
23 address this from an OEM, Fiat/Chrysler, so I'm global OEM,
24 and the SAE standards. I do think we really need a workshop
25 to go through this material, because I've demonstrated SEP 2

1 doing the things that have red xs in them on these use
2 cases. We've already done that. SEP 2 and SAE standards
3 incorporate everything that 15118 has and more. So we just
4 need to work through this, and work through it collectively
5 as a team.

6 So that's my comment.

7 MR. CRISOSTOMO: I think that's a perfect
8 transition for our next presenter, Frances. So thank you,
9 Presenters. You can go back to your seats.

10 So Frances Cleveland is the Chair of the CEC/PUC-
11 sponsored Smart Inverter Working Group, who can provide a
12 perspective on some of the gaps in all the things that we've
13 been talking about today from a technical standpoint.

14 Thank you, Frances.

15 MS. CLEVELAND: Yeah. Thank you. And I'll also
16 add a little bit to my own introduction, which I think may
17 be relevant to this group.

18 One is that I am also the Technical Editor of IEC
19 61850 for DER. And we are also hopefully having a joint
20 working group with TC 69 (phonetic), which is the EV group,
21 where hopefully we will get some of these things worked out.

22 This is, of course, at the IEC level, which takes forever
23 to get anything done, but nonetheless I think is an
24 important aspect.

25 In addition, I wear the hat of being convener of

1 the Cyber Security Working Group in the IEC for the utility
2 arena. So cyber security is indeed part of this whole
3 effort.

4 So what I'm going to do today is basically, first,
5 just go through a little bit of what we did and the
6 background to the Smart Inverter Working Group, because I
7 think it's an important example of how we can possibly get
8 things done. Maybe it will fail, I don't know. But at
9 least it did seem to work for the interconnection of
10 distributed energy resources.

11 And so then I'm going to, first of all, I'm going
12 to act essentially neutrally in the sense that I'm not
13 advocating expressly any particular way to go or particular
14 standard. I have my personal opinions, and I'm sure people
15 know them. But what I'm trying to do here is present it as
16 if, okay, we've got to get all the stakeholders together and
17 see where we go from here, and let the stakeholders sort of
18 drive the effort.

19 So starting off with the Smart Inverter Working
20 Group, this started up partly because we first had the goal
21 of achieving 33 percent renewable energy by 2020, which
22 amounted to about 12,000 megawatts of DER, distributed
23 energy resources. Now that mandate has been upped to 50
24 percent by 2030. And we are well on our way to getting
25 there. So the key issue is not necessarily getting there,

1 but how we get there and what the implications are.

2 So one of the things that we determined early on
3 was the fact that DER, and I think this is the same, true,
4 for electric vehicles, are not just a problem for the grid,
5 they can help solve some of the problems of the grid. And
6 so I think that if we think of it in those terms, then we
7 can see what a good approach might be.

8 So getting back to the Smart Inverter Working
9 Group, one of the things that we saw was some problems that
10 they had in Europe. There was a big blackout in 2003 in
11 Italy caused by Germany, Switzerland, and a few other
12 things, where they began to realize that they had to request
13 DER systems to do a little bit more than just sit there
14 generating power when they felt like it and shutting down
15 when they felt like it, et cetera. It was a very expensive
16 proposition when they realized they had to retrofit a lot of
17 these systems.

18 So from the DER perspective, California, both the
19 CEC and the CPUC, didn't want to repeat that, so they
20 started up the Smart Inverter Working Group. We started up
21 2013 with basically an idea of updating California's Rule
22 21. We ended up -- we started off with maybe ten
23 participants.

24 And I will have to say that the first few meetings
25 were why am I here? This doesn't make any sense. We can't

1 do any of this stuff. And, you know, they want us to do
2 this and we can't, and you want us to do that and we can't.

3 But it was amazing how fairly quickly, once people began to
4 sort of listen to each other and say, oh, well, if that's
5 what you want, maybe we can do it. Now let's quibble over
6 whether it's 0.2 seconds or 0.3 seconds. And so we finally
7 got down to that level of discussion.

8 What we ended up doing is having a phased approach
9 where the Phase 1 were seven critical autonomous functions,
10 which are now final. They're now in Rule 21. They got
11 approved in September 2016 and will become mandatory by
12 September 2017. Phase 2 was -- and the Phase 1 were
13 autonomous, and basically functions that all DERs would have
14 to do. There wasn't any real expectation of any cost
15 return, per se. It was basically, we got to have you do
16 this stuff, or at least have the capability.

17 Phase 2 was saying, okay, well, now we need some
18 communications. It also took a while to get there, but we
19 basically came up with IEEE 2030.5 or SEP 2 as the default
20 protocol.

21 And then Phase 3 are eight additional DER
22 functions which may require compensation by utilities. And
23 we're picking up on that effort again, probably starting in
24 January sometime, to go through both Phase 2 -- but I think
25 we're pretty comfortable there, Greg, don't worry about it -

1 - but picking up again on the Phase 3 functions, some of
2 which I think could be of interest to the EV world, so we'll
3 get to that.

4 In addition, one of the important consequences of
5 the Smart Inverter Working Group was triggering the updating
6 of the national or North American Standard, IEEE 1547, that
7 deals with DER interconnection across the country and is
8 very useful in a number of other countries. It's mandatory -
9 - not quite mandatory, but regulators pick up on it,
10 including California.

11 So just quickly, the Phase 1 functions were
12 supporting anti-islanding ride through of low and high
13 voltage changes. This is really important, so that you just
14 don't trip off because something has gone just slightly
15 wrong. You try to ride through it, both the voltage and
16 frequency. VAR control, where because these smart inverters
17 have inverters, just like EVs have inverters somewhere, you
18 can change the inverter settings through software and
19 extremely cheaply change its power factor, how much reactive
20 power it can produce. And the same is true of EVs. So
21 this, again, could be used -- could be something that EVs
22 could provide to utilities where needed.

23 We also had some other things like default ramp
24 rates, fixed power factor capability, reconnection by a soft
25 start so that not everybody jumps online at the same time.

1 As I mentioned, this is now going to be mandatory
2 starting in September 8th of 2017. So the Phase 1 stuff is
3 now ongoing.

4 Although this is not directly applicable to EVs,
5 because EVs are treated as loads which don't come under Rule
6 21, per se, one thing that is part of Rule 21 was the
7 agreement that energy storage systems in general which can
8 both generate and charge, that you can do the generation
9 part under Rule 21, and then you sort of jump to Rule 2 for
10 the charging part, which is a little strange but that's the
11 way it had to work. But the point is that EVs can come
12 under that same situation, although they're more charging
13 or, you know, being charged than they are generating, at
14 least at the moment, something like that could be
15 applicable.

16 Phase 2, probably going to become mandatory soon.

17 I think the key here are two items. One is that all
18 inverter DER systems shall be capable of communications. It
19 didn't mean that all of them were. And we also defined the
20 data exchange requirements. What kinds of data, regardless
21 of protocol, just what kinds of data are you looking for,
22 for particular functions, for particular capabilities? And
23 so we went through and said I don't care what protocol, you
24 could use carrier pigeons if you wanted, but at least what
25 is the data that has to be carried?

1 Then we got to the things, such as the 2030.5
2 being the default. That means that California has been able
3 to go ahead and very rapidly put in 2030.5 systems. And the
4 DER manufacturers are putting them in.

5 We also have the fact that some of this same work
6 is being mapped. For instance, even 2030.5 originally was
7 sort of based on the IEC 61850 information model. Well,
8 that, the 61850 information model is also being mapped to
9 DNP3, which is what utilities use for SCADA Systems. And it
10 also covers cyber security and privacy.

11 Now here are some of the Phase 3 functions. Some
12 of them are straightforward. And I won't get into the
13 details of them here because I've got another slide that
14 sort of goes into the ones that may be more applicable to
15 EVs. But recognize that these are ones that could provide
16 revenue streams, not clear how yet, that's sort of open.
17 But this kind of effort of sort of resolving this, we sort
18 of stopped because we knew that IEEE 1547 was moving
19 forward. But now we're going to revisit it and see what
20 happens next.

21 Okay, so it looks like this just jumps to the full
22 model. You saw a piece of this earlier today. It actually
23 should be a build, but it's not building in this. I guess
24 it's not a PowerPoint situation.

25 Anyway, the point here is that this is a model of

1 DERs in general, all the green stuff.

2 The blue stuff is where there are facilities, so
3 it could be a house, it could be a factory, it could be a
4 shopping mall, it could be, you know, anywhere where there
5 might be a fleet.

6 The upper red part is Level 3 is the third
7 parties. These are aggregators or other third parties that
8 are interested in helping to do some of these complex,
9 sophisticated interactions.

10 The yellow/orange at the top left and side are,
11 first, at the top is the distribution utility, and then on
12 the side is the transmission utility.

13 But you can see that there are arrows going all
14 over the place there. And the reason for that is that there
15 is not one set of interactions. There are lots of
16 stakeholders with lots of different requirements, lots of
17 different purposes. And that because of that a single
18 standard absolutely cannot make it. That's not to say that
19 there aren't some good standards that meet specific areas,
20 and that's absolutely true. But what we can't say is that
21 there's one standard, communication standard that's going to
22 meet all of these requirements, including up to the market
23 and so forth.

24 So the question then is what are going to be the
25 electric vehicle communication requirements? If we look at

1 it from the same perspective as we did on the Smart Inverter
2 Working Group where we sort of looked at what the functional
3 requirements were, we started with almost a blank slate. We
4 had sort of some ideas, we had some stuff that was going on
5 in Europe, but it was essentially a blank slate. I think
6 we've got more than that now. We've got some use cases.
7 We're going to have to understand more of them.

8 But I think it's really clear that in order to get
9 the reliability, the interoperability where necessary, and
10 where we should not try to specific something, where we'll
11 let the market forces take over, and I think there's plenty
12 of places where that's the case, well, we'll have to figure
13 out which ones -- where do we want real interoperability
14 were we want to have that plug-and-play, plug it in and away
15 it goes, security, both cyber security, and in the case of
16 the power system security and the market?

17 So here is a slightly revised or modified drawing.
18 Clearly, you're not going to be able to read everything
19 that's on this slide. So you can take a look at it, you
20 know, when you get back and you've got a big screen in front
21 of you to look at it yourself.

22 But what I've tried to do is, first of all, here
23 is the electric vehicle down again in the green area.
24 Here's the blue, which is the facility, whatever, it can be
25 a small house, it can be a huge factor, whatever,

1 commercial, whatever. Again, the aggregators are the third-
2 party entity. The utilities and the market folks up at the
3 top.

4 But what I've tried to do with these yellow marks
5 is to say these are some of the protocols that may be used
6 in these areas. We don't know yet for some of them whether
7 we would do it one way or another way. So this is one of
8 these things where I've tried to capture at least some of
9 the possibilities for protocols, but I'm wide open to other
10 possibilities. You know, this is just a question -- really
11 trying to set the stage, saying, you know, these are some
12 possibilities, these might be the places that we need to
13 fill in, these might be the places that where we need to
14 continue saying question mark, because we're not going to
15 deal with it.

16 And the reason I say that, and we've certainly
17 touched on that a lot today, is the fact that there are very
18 different interfaces between different players or systems or
19 devices. They're very different stakeholders who have very
20 different motivations or purposes. And we can't just say,
21 oh, well, we've got one, we're going to do everything
22 through demand charging. Well, that's an important one.
23 You know, find out what the price is, and then you do the
24 electrical charging based on that. But if you have a time-
25 of-use rate or any rate that doesn't change from day to day

1 or month to month, and it doesn't matter whether you charge
2 in the morning or the evening, or even if it does you're not
3 going to get much out that, so you have to look at it from
4 other ways.

5 It also is that there are all of these grid
6 services. It's not just energy. It's ancillary services.
7 It's grid support, particularly in emergency situations
8 where electric vehicles could do a lot of good. So we
9 really need to expand the idea that we're not just talking
10 about EVs as a load. It's far more than that. Maybe that's
11 the big one, and that certainly has to be taken into
12 account. But there's a lot more to go on, and I think this
13 is where we need to look at it.

14 So we have EV to EVSE, obvious. EV to third
15 party, maybe it's an OEM, maybe the third party is some
16 market operator or aggregator or somebody who's going to bid
17 into the transmission market to provide reg-up/reg-down,
18 regulation up/regulation down. It can be somebody that has
19 absolutely nothing to do with a car manufacturer. Then
20 there's the EV driver to a third party that could be a smart
21 phone app. We talked about that also today. Do we want to
22 get into the protocols for that? I don't know. But we might
23 want to get into at least the functionality and then see
24 where we go. So then you have the EVSE to the EVSE to the
25 facility EMS, energy management system, residential, maybe

1 when you're talking about charging stations, EVSE to a third
2 party, probably the market. Then you have the facility EMS
3 to the third party, and the facility EMS to the utility.
4 And the utility to the third party for grid support. And
5 the utility to the market of grid support.

6 So you see, there's a whole mesh of different
7 stakeholders who have different purposes, different ideas,
8 different interests. And we can't solve everything, but we
9 can certainly narrow it down and say here's the ones that we
10 feel California needs to define. And in the meantime, we
11 may have developed even more use cases than we have already
12 defined.

13 Okay, so I think some of these pictures you
14 actually saw a little bit before. But the key here in this
15 particular one is that there are grid challenges from EVs.
16 And so the duck curve is an example, but you also have peak
17 and load differentials that really change what you have to
18 deal with. So that was a German example.

19 Here I'm getting back to some of the grid codes.
20 And here I will say the grid codes that are -- some of them
21 are in Rule 21. Some of them are these Phase 3 from the
22 Smart Inverter Working Group. Some of them are actually
23 also from the IEEE 1547. And some of them are actually from
24 European grid codes that just came out in April of this
25 year, a little less well defined, but still ones that are

1 going to trickle down to DERs and -- well, they're for DERs,
2 but they've got a lot of work to do, and could be for EVs,
3 as well.

4 So we have what I call the coordinated
5 charge/discharge management mode. This is what we've
6 actually been talking about most today, which is the idea
7 that you set the time for when you want it charged. You
8 provide it with information like the prices, and then you
9 let the device, whether it's the car or the charging station
10 or whatever, decide exactly how it's going to do it.

11 But now I'm going to get into some of the sort of
12 grid support that you probably haven't thought about too
13 much yet. Dynamic volt-watt mode, where the EVSE or the
14 charging station dynamically absorbs in a V1G, or produces
15 in a V2G, additional watts based on the voltage level.
16 Because particularly in the distribution world, utilities
17 are very concerned about the voltage level along their
18 lines. And so, you know, and you have solar systems now at
19 the end of lines. And that produces additional problems of
20 reactive problem and changes the voltage level. So again,
21 this is something that EVs can do.

22 Frequency watt mode. This is, again, can the EVSE
23 or the charging or, you know, the entire charging station
24 with a bunch of EVs on it or the fleet management system,
25 something like that, can respond to changes in frequency,

1 again by changing its charging or discharging levels.

2 Active power limit mode. This, at the moment in
3 DER world, is trying to limit the amount of generation, but
4 the same can hold true for the amount of load. So if it's
5 charging, you might want to say, limit the actual charging
6 at that particular point in time. It just is sort of a
7 limit and you can go up to that limit, maybe as a fleet or
8 something like that.

9 Okay, I better get going on speed here. Okay.

10 So there are others. There's peak power limiting.
11 Generation following, following the generators. Volt-watt
12 mode, very important. We did a study in Southern Cal Edison
13 that showed how important the volt-watt mode was, again,
14 something that EVs can do. Volt-VAR control, I mentioned
15 watt-VAR control. Scheduling.

16 So these are now some of the different views.
17 Again, I certainly am not going to go through these
18 diagrams. But this is the IEC or one of the IEC's visions,
19 because I've seen now a number of them shown today, where
20 they have the smart grid architecture model view of how the
21 different pieces all fit. The idea here is that 61850 will
22 be a part of the picture. That's more of Europe. It could
23 happen here in the U.S.

24 Another diagram showing similar kinds of
25 things where again you have the different EV stakeholders

1 and which ones will be doing what.

2 You saw this earlier today. This is the SAE, in a
3 sense, architecture or structure of documents that show it's
4 going to -- all of these pieces are going to fit together.
5 And I will point out that, indeed, security is a part of it,
6 which is very good.

7 Again, just some diagrams. Rich showed some of
8 these similar ones this morning, so I won't go over them.
9 But the point is that there are different pieces. Again,
10 there can be a smart meter in the mix, or it could be quite
11 different than that.

12 Again, I think some of the folks here presented
13 what's happening with these ultra-fast 350-kilowatt charging
14 station in Europe. Pretty darn impressive. We need to be
15 able to take these kinds of changes and expansions into
16 account. And, you know, we need to handle those as much as
17 the Level 1, Level 2, or even Level 3AC-type charging. So I
18 think it's really important to take these new ideas, and not
19 only take them as, you know, they're coming or somewhat
20 here, but what are we going to get in the future? You know,
21 are we going to get 500-kilowatt hour -- you know, kilowatt
22 charger, et cetera? And then we've got a few competing
23 standards there.

24 Again, I'm bringing up the OCPP, which comes from
25 the Open Charge Alliance, because it is pretty much a de

1 facto open standard for EV charging, charging to network
2 communications in Europe, Asia and a number of other places.

3 It is in the process, and who knows how long that will
4 take, to go get -- to come -- go through some of the OASIS
5 standard and eventually into the IEC. But the point is it
6 is a standard now that is being used a lot. And nothing
7 wrong with OpenADR but, you know, we would have to, again,
8 take a look at OpenADR in comparison with this effort.

9 I'll just -- this is fairly straightforward. So
10 these are the communication issues that I think need to be
11 resolved. One of the -- the very first is really to pick or
12 even develop use cases for all the purposes and stakeholders
13 that we really think are valid so we can take a look at them
14 from a market perspective, from a grid code perspective,
15 these are either mandatory or desired, grid reliability, and
16 some cyber security privacy, because privacy is going to be
17 really important in this.

18 Then we can take a look at the potential protocols
19 for those interactions that we believe should come under the
20 interoperability, let the CPUC-make-a-decision-on level.

21 And for those that we don't -- we say, great, here's some
22 use cases defining some of the stuff, but we're not going to
23 do it from there. And then probably identify default
24 protocols, see where there's some gaps in them, because no
25 protocol yet is quite able to do everything that we've

1 talked about.

2 And we should also coordinate across the world.
3 There's no point being -- you know, just saying, well,
4 California, we're going to do it like this. It's very good
5 to start that way. In fact, we have. But we should
6 continue to work closely with the work that's going on in
7 other countries, as well as other states. I kind of somehow
8 think, you know, California is the sixth largest economy.
9 We're almost our own country.

10 And we should come up with a relatively short
11 schedule for the initial assessment and areas that we know
12 we can move on. So in a sense I'm saying, we should have a
13 phased approach. Let's have a Phase 1 that says, we know
14 pretty much, this is the way to go with this. Now let's
15 take a look and have maybe Phase 2 and maybe a Phase 3 that
16 says, here's some other things and we'll start working on
17 those, once we've sort of agreed on the Phase 1 stuff. But
18 we've got to have flexibility, and I think that's going to
19 be critical.

20 So that's my presentation.

21 MR. CRISOSTOMO: So we could take a few questions
22 for Frances.

23 MR. BOURTON: It's Mike Boulton, Kitu Systems.
24 This is more of a recommendation.

25 If we're going to set up a workgroup, I would

1 recommendation that Frances Cleveland, I don't know whether
2 she's available, but having watched what happened in the
3 Smart Inverter Working Group, it's worked very well. It's
4 the best example I can see of getting a diverse group of
5 stakeholders, who initially were the most resistant group I
6 could have thought of, to actually get it. And the final
7 outcome of that is I don't hear any complaints about the
8 result.

9 So I think it was a very good job, well done job.
10 And if Frances is available, I recommend her for that
11 position.

12 MR. CRISOSTOMO: Okay. So everyone raise their
13 hand if they're going to have a question for Frances. So
14 one, two, seeing those two, let's keep those to two minutes
15 each so that we can keep going.

16 Anne, and then Mehdi, is it? I forgot your name.
17 Okay.

18 So, Anne, go ahead.

19 MS. SMART: Hi. Anne at ChargePoint.

20 Noel, I appreciate your answer earlier, but I
21 think I'll ask the question again.

22 So Phase 3 of the Smart Inverter Working Group,
23 will EVs be a part of it? And does that mean that you are
24 now implementing something that could be conflicting to
25 15118 and the process?

1 MS. CLEVELAND: Okay. First of all, at the moment
2 it's a tentative decision to go forward with the Phase 3
3 review. I think it will move forward but, you know, nothing
4 has been signed.

5 I am suggesting, and nobody has really yet said,
6 yes, no or indifferent about it, that we include EV folks in
7 that discussion to see which ones, at least of those eight,
8 remember, we're now just talking about those eight, to see
9 which ones might make sense. But I'm not sure that just
10 having the EV folks join that Phase 3 discussion will be
11 quite adequate.

12 In no way will that undermine 15118 because that's
13 at a completely different level. There's nothing that says
14 15118 can or cannot do those services.

15 MS. SMART: Okay. My only other comment to put on
16 the record would be that if we are to develop a working
17 group around this, I think it would be important to look at
18 all possibilities on who would lead that, simply because I
19 think that there is some conflict between some of the goals
20 currently underway in the Smart Inverter Working Group and
21 what would come out of this VGI working group.

22 And for that reason while, Frances, I'm sure
23 you've been amazing, and I think everyone has said that
24 previously, I would say that there may be some conflicts
25 there that would be inherent to having the same person cover

1 both.

2 Thanks.

3 MR. GANJI: Mehdi Ganji with Willdan.

4 Thanks for the nice presentation, Frances. A
5 couple of items, before I ask you a question.

6 What I think, in order to get to State's goals, we
7 need to provide a different public-private environment. We
8 need to provide more application and revenue generation
9 opportunities for EVs, not only talking about the ancillary
10 service provision by EVs and owners of the EVs. We need to
11 talk about that the EVs can be used as a communication node,
12 especially with the presence of smart street lighting these
13 days.

14 Also, we need to provide the EV owners by micro
15 energy market structure for charging and discharging
16 schedules as needed. Grid controllability is moved towards
17 this internalization and local controllability.

18 For example, the BMW results showed that the
19 owners are willing to participate into a micro market in
20 order to do charging an discharging.

21 Also, about the cyber security, I personally
22 believe that the importance of fleets or the cyber security
23 and the communication between the EV, EVSE and utilities is
24 also important. A tracker can easily send a signal to
25 charging -- to the charging signal to all vehicles and

1 overload the distribution transformers easily and everything
2 out. So that's a main issue.

3 In that case, I would add the interaction between
4 the utility and EVSE to the slides that you provided, as
5 well, at the end. Well, I can summarize all the
6 applications of EVs into a smart CD's application,
7 especially by the presence of the smart street lighting
8 these days. Thank you.

9 MS. CLEVELAND: Okay. Yeah, so I basically agree
10 with that. And I think that in moving forward we can deal
11 with any of the issues that might come up with that.

12 MR. CRISOSTOMO: Okay. Thank you, Frances.

13 And for everyone who's been commenting throughout
14 the day, so that we can accurately represent your comments
15 and whatever summary we come up with, I will be looking at
16 the transcript. And if you would like to continue to say
17 other things, please do make official comments.

18 So in the interest of time, is there anyone who
19 needs to hard stop at 4:00? Okay. That's good.

20 So for this kind of last combined session, I'm
21 hoping in maybe the next 20 or so, 25 minutes, to combine
22 the last three parts around maintaining progress with ideas
23 of how we keep this ball moving forward, and next steps for
24 the agencies and everyone here.

25

1 We've been talking about this all day. And you
2 can read this set of potential values beyond VGI, and put
3 that into the context of Frances' systems diagrams. But we
4 continue to need to focus on how we can incentivize private
5 investments.

6 Previously being at the Utilities Commission, we
7 wholly understand and support what is required by SB 350 to
8 encourage innovation and private investment. And so how do
9 we utilize these values for EV planning, customer
10 simplicity, potential revenue streams, et cetera, et cetera?

11 How do we use that information that we will be collecting
12 and are collecting today to help the value proposition for
13 grid integration.

14 I'm hoping that these can be some guiding prompts
15 for your comments. And you don't necessarily need to limit
16 your comments to these points, but these will hopefully kind
17 of trigger prompts so that you generate new ideas and help
18 us understand your perspective. So I'll go over them here
19 quickly. We may or may not have time or an appetite for
20 hearing public comments, given the fire drill and the room
21 change.

22 But how do we accelerate the driver and
23 social/environmental/customer benefits of using electric
24 vehicles to hasten transport to carbonization?

25 How do markets -- or, do markets appropriately

1 value investments and higher functions that aren't yet
2 useful or known to customers but might be, quote unquote,
3 "unlocked?"

4 There are a few examples here around different
5 technologies and different functionalities embedded within
6 the existing slate of design requirements. But recall that
7 smart meters were supposed to do a whole host of things.

8 But what has actually turned out is not
9 necessarily that full envisioned capability. Nearly
10 immediately after the utilities deployed their smart meters,
11 we determined that we needed a submetering protocol for EVs
12 to get at this exact load.

13 Everyone knows the VHS versus Betamax story.
14 Frances went over the smart inverters use case. And who
15 knew for autonomous vehicles that we would be seeing these
16 downloadable applications just through, not customer demand,
17 but innovative designs that were foreseeing of what could be
18 in the future. No one was calling for -- no individual
19 driver was calling out for autonomous vehicles immediately.

20 I mean, they could imagine that for decades. But someone
21 finally needed to pull the trigger and essentially force the
22 industry as a whole to start coming up with these new
23 products that we're seeing, again, weekly.

24 So how do we kind of think about what the future
25 might hold and make decisions amidst that uncertainty?

1 To that point, how must automotive EV service
2 providers and other actors justify their investments in the
3 marginal technologies to enable those functions?

4 And how can the state encourage the innovation in
5 these advanced functions to ensure the resilience of our
6 infrastructure, of our cars, et cetera?

7 Obviously, these are pretty deep questions. We
8 wouldn't be able to adequately capture them in one minute or
9 two minute sound bites at this point. So please do think
10 critically. And although we don't have time here, I highly
11 encourage you to include them in comments into the dockets
12 that will be forming the basis of the agencies'
13 understanding of where you want this to go.

14 So, Mike, I see you there. Okay.

15 Just to start closing, and again, we can,
16 depending on people's preferences, hear more public comment,
17 but, what specific concerted and results-oriented
18 implementation steps can the state and stakeholders take to
19 achieve our ZEV goals, our DER goals, our SB 350 goals?

20 The two next immediate steps that the agencies are
21 taking are, one, working across CEC proceedings. So this
22 lives in the Transportation Docket for the Integrated
23 Resources Planning Requirements that Tim Olson is leading
24 for the POU's. But it is cross-docketed with the Title 20
25 Energy Data Requirements, just so that we're coordinating

1 internally. So we need to ensure that our energy data
2 that's collecting in -- being collected in that rulemaking
3 is consistent with what we're doing here.

4 And then, Mike, you'll come up in a few minutes,
5 but how do we bring research and development and our state's
6 investments in EPIC and the other programs into technology
7 that's validated and ready for widespread deployment?

8 So just one detail on Title 20. Per AB 802, CEC
9 is developing regulations to better understand charging
10 behaviors which could ultimately inform the demand forecast
11 at even lower levels of spatial resolution and electrical
12 system resolution. So these are two subsections of Title 20
13 which will be trying to characterize EVs as, one, behind-
14 the-meter loads, and two, understand the operations of
15 networked EV chargers in public and workplace settings.

16 In order to integrate these two dockets, there was
17 a workshop that was held last month on energy data broadly,
18 not just EVs. The link is here for more information on
19 that. And as I mentioned, this workshop was cross-docketed
20 with that other CEC rulemaking.

21 Comments are due next week on the 12th. But given
22 that the feedback for this rulemaking, or maybe that's too
23 strong of a word, this effort is due on the 14th. If
24 possible, please coordinate across those two responses. And
25 if you are not directly participating in the energy data

1 rulemaking, just rest assured that I will be coordinating
2 with other CEC staff on the design of that Title 20
3 regulation. And if you do have questions, I believe Malachi
4 Weng-Gutierrez's contact information is on this page.

5 And as I describe this slide, Mike, if you could
6 start coming up?

7 Our key challenge as the state for the past
8 several years, and this was introduced during a CEC Research
9 Review Workshop last year, was understanding how we can
10 bring the pilots that David mentioned and Adam has been
11 talking about across the utility programs, funded through
12 the DER Program or, say, Power Your Drive at SDG&E, or the
13 CEC's investment in the V2G Project, how do we bring that
14 into the transportation electrification rules that Amy was
15 discussing earlier? And how do we eventually use that as a
16 way of scaling these technologies that ratepayers have
17 invested in?

18 Mike, if you could talk to these points?

19 MR. GRAVELY: Okay. Thank you. I'm Mike Gravelly
20 from the R&D Division. So in the interest of time, I will
21 make this fairly brief.

22 One is we have several projects that we are doing
23 right now. I'll mention the Transportation Division is
24 funding projects. R&D Division is funding projects. The
25 Chairman mentioned L.A. Air Force Base. It's the largest

1 vehicle-to-grid demonstration in the world with the
2 Department of Defense. And some of the challenges they've
3 had, they've been participating in the market since January
4 of this year.

5 We have a project we're going to be doing with the
6 Marines at Miramar, looking at vehicle-to-grid and
7 microgrids.

8 We have several projects that were awarded a few
9 years -- a year back. You heard a couple today from some
10 of the presenters, that we're doing different levels of
11 evaluation. We have a solicitation that's being evaluated
12 now. The results will be out in the first of the year. And
13 then we are also developing the third investment plan, which
14 those of you who follow EPIC, we'll be having some public
15 workshops after the first of the year. And there's an
16 opportunity for you to come to those workshops and help us
17 understand the research needs and gaps that we would put in
18 that plan, realizing that plan is a few years away.

19 So my basic comment here is, one, we do have a
20 workshop on the 12th, on Monday, that we will be covering
21 these research projects. If you have questions on the
22 projects, if you want to learn about the projects, I would
23 encourage you to come there or participate by WebEx. If you
24 don't, if you can't make it, there will be -- the
25 presentation will be available online, and the WebEx

1 recording will be online after the workshop. But, I mean,
2 there's an opportunity to discuss those there.

3 For this particular area, though, we have quite a
4 few projects that are doing different levels of research
5 development and protocols and integration. We haven't
6 specified in any of our research projects specific
7 protocols. But we are doing, as you heard, a variety of
8 those protocols.

9 So for this working group, and if you form a
10 working group, but we would need to know would be what
11 questions can be answer? What data can we provide? What
12 information would you like? Hopefully some of this data is
13 available on projects that are ongoing and we can provide
14 that sooner than later. In some cases the new projects that
15 we're awarding, we can make some moderate modifications to
16 get data that would be useful for this group and this
17 working group that wasn't currently proposed, but we some
18 flexibility.

19 So I'll just leave it in the sense that we have
20 access to quite a bit of data. We would like to provide
21 that data and be as useful as we can. And we have some, as
22 you've heard, some vendors that are looking specifically at
23 different protocols that we can show the pros and cons that
24 would help the working group finalize their details.

25 So we'd like, again, I do think I agree with

1 what's been mentioned here more than once, Commissioner
2 Peterman and Noel, is the fact that we really don't want to
3 wait four or five years to make a decision. So we want to
4 see what we can do currently. And then later on we can do
5 some research to validate or tweak things as we go along.

6 And with that, I'll take any questions, if there
7 are, real quick on the R&D side. If not, we'll go ahead and
8 move on.

9 MR. CRISOSTOMO: Any questions for Mike?

10 MR. GRAVELY: Okay. Thank you very much.

11 MR. CRISOSTOMO: So as I alluded to before, we
12 need to make sure that R&D is aligned with the need to
13 receive feedback quickly and help the PUC with their
14 electrification plans.

15 And if, Amy, you want to join me and provide some
16 additional closing thoughts?

17 Please use content presented-the prompts today,
18 the questions that have been brought up, ideas, everything,
19 as the basis for your responses. This workshop has been
20 docketed in the CEC's efforts, but also has, obviously, been
21 served to R.13-11-007. In response to those comments, Staff
22 will be drafting a workshop report and potentially a white
23 paper for agency review and public comment.

24 We might propose a plan for this group. And
25 maybe, Amy, you can talk a little bit about that, or

1 anything.

2 MS. MESROBIAN: Sure. Yeah. Thanks Noel.

3 So I think I got feedback from some folks today
4 that a working group might be helpful in moving this issue
5 forward and getting people to be in a room together and
6 actually agree on things and sort of the state of standards.

7 So I would definitely welcome additional feedback, both
8 informally and through the written comment process after the
9 workshop, just on whether you think the working group is a
10 good idea, and any other thoughts you have for moving that
11 forward.

12 So just to reiterate kind of the idea behind the
13 working group would be to determine which, if any, standards
14 the CPUC and potentially other state agencies should adopt
15 to support VGI. And we would want the workgroup to have a
16 very narrow and well-defined task. Because again, we want
17 this process to be able to feed into our bigger regulatory
18 process. So as we're reviewing utility applications
19 throughout 2017, we would want to be able to take that
20 information from the working group, take the final
21 recommendations and incorporate it back into the record of
22 our proceedings, so that we can issue a decision to the
23 utilities with that information. So we definitely want to
24 focus on a timely results-oriented process, maybe something
25 the in the six to nine-months' time frame.

1 And then just as far as the makeup of the
2 workgroup, I'm hoping for sort of a neutral third party who
3 doesn't have an interest in the outcome but has some
4 technical expertise and can really lead the group forward
5 and make a kind of significant time commitment over the next
6 year. And then hopefully, you know, all of you, and we can
7 get all of the right stakeholders in the room. So that
8 might mean reaching out to other groups or just
9 understanding who else we need in the room to make all these
10 decisions about, you know, what's our end goal and how are
11 we going to get there, and which standards we might need to
12 adopt to get there.

13 So, you know, we have a bit of a process and some
14 things to get through. But I think the idea would be
15 kicking off something in the February time frame, you know,
16 funding and support-dependent, and all of that kind of
17 stuff. So, you know, starting in February, maybe biweekly
18 meetings of this working group, continuing for about six to
19 nine months.

20 So that's sort of our initial thought, and
21 definitely welcome any feedback on that.

22 MR. CRISOSTOMO: Any initial feedback on that
23 point?

24 So again, given that we have so much literature
25 and previous work to be building upon, I would echo Amy's

1 point that the group needs to be defined clearly to not
2 rehash previous findings and conclusions around value, the
3 lack thereof, and grid codes. We don't need to build this
4 from the ground up. And we don't have years, and something
5 needs to change from previous efforts in this space so that
6 we can actually make this relevant to our large-scale
7 electrification.

8 So any comments before we close?

9 MR. SOLE: Oh, thanks. Barry again. Porsche.
10 Just my final comments.

11 Our fears are, sort of from the VW Group, is that
12 if we don't standardize something and everyone is allowed to
13 do what they want, we're never really going to reach mass
14 adoption of electro mobility in the marketplace because
15 there's no true interoperability.

16 And for us to have this interoperability which
17 allows complete adoption, in other words, the customer wants
18 to know, it doesn't matter which vehicle I buy or it doesn't
19 matter where I charge, how I charge, it's always going to
20 work, in order to reach this level of interoperability, we
21 need standards. And I think, as Steve pointed out, what's
22 not always liked in this area is the philosophy of OSR. And
23 I think we should adopt this --

24 MR. CRISOSTOMO: I'm sorry. Could you say that
25 again?

1 MR. SOLE: I like the principle or the philosophy
2 of OSR. It's the standard for ECU (phonetic) software, but
3 it applies to us, as well. Their philosophy is basically
4 collaborate on standards, compete on implementation. And I
5 think that's exactly what we need to do.

6 We heard the example today about the cell phone.
7 And I half agree with it, mostly because if we look at the
8 core function of the cell phone, it's text messaging and
9 phoning, and that is already basically standardized.

10 I flew over here yesterday with two cell phones in
11 my pocket from two different manufacturers with two
12 different SIM cards in them, and it worked. Everything was
13 fine because there's defined standards. Of course, on my
14 cell phone I can install different apps later, and these may
15 speak proprietary protocols and allow further functions, and
16 that's fine.

17 But what we're talking about here is the core
18 function of charging the vehicle, and by extension,
19 integration into the grid. And that's why my message is we
20 need to have this collaborate on standards, compete on
21 implementation.

22 Thank you.

23 MR. DAVIS: Steve Davis with KnGRID.

24 I think I understand your impulse, Amy, in calling
25 for a working group. My biggest concern, though, is that

1 we're here today because we've had a group of people who
2 have been trying to form consensus for several years now.
3 And the one thing we've heard over and over and over again
4 is from a utility, from a microgrid operator, from the
5 preponderance of the EV manufacturers, not everybody, but
6 even some of the ones, one of the ones that was on the
7 alternative side said that they plan to implement ISO 15118.

8 So we have as good a consensus as you're going to
9 get. A working group won't, in my humble opinion, having
10 been at this for several years now, that's unlikely to
11 change. I just want that out there.

12 I would tend to echo, in spite of Frances'
13 outstanding results in the Smart Inverter Working Group, I
14 would echo some concern that a working group that went down
15 a certain direction, that somebody might already have or she
16 might have some preferences going into it. No disrespect at
17 all.

18 But I think we do absolutely, if there is going to
19 be a group that's taking a look at this once again, and
20 remember, this is has been going on for years now, that
21 person has to be completely neutral, and we can -- and I
22 would even argue against doing that, but that's predictable
23 from my side. I think there's a preponderance of evidence
24 that we have a global standard. I think it's ready to go, I
25 think we've heard that and I think that it's -- we're at a

1 point where we should move towards implementation and not
2 waste another year, if we're honest, with analysis
3 paralysis, and I think that's where that's going to lead us.

4 So anyway, thank you.

5 MS. MESROBIAN: Yeah. So, I guess, one comment
6 and maybe question for you or others is at the CPUC, we make
7 all of our decisions based on evidence in the record. And
8 we currently don't have enough evidence in our record to
9 make a decision. So the working group was designed as a
10 pathway to get that evidence into our record so that, you
11 know, the judge and the Commissioner could make that
12 decision.

13 So if it's not the working group, then it's our
14 regulatory process, which might be longer. So that's sort
15 of the tradeoff and why we were thinking of that idea.

16 MR. CRISOSTOMO: While Abigail is walking up,
17 let's un-mute the phone from Dan Bowermaster, and then Rajit
18 Gadh from UCLA, in that sequence.

19 Please Thank -- Dan?

20 MR. BARROWMASTER: Hi. Can everybody hear me?

21 MR. CRISOSTOMO: Yes, we can. Thank you.

22 MR. BARROWMASTER: Yeah. So thanks everyone. So
23 basically, I'll be blunt. EPRI is in full support of the
24 working group. And we're happy to help or host as the
25 broader stakeholder community deems appropriate.

1 Thank you.

2 MR. CRISOSTOMO: And Rajit, please?

3 MR. GADH: Can you hear me?

4 MR. CRISOSTOMO: Yes, we can.

5 MR. GADH: Yes, we can.

6 MR. CRISOSTOMO: Yes, we can.

7 MR. GADH: I have a couple of points since that
8 question.

9 And the first was a question to Mike Gravely
10 specifically. I think that CEC is gathering a lot of data
11 and it's very exciting. I think that if we can somehow, the
12 community can get that data, maybe through some standard
13 interfaces or something like that, then I think we can all
14 benefit and do our research and analysis. So that was just
15 a thought I had.

16 I don't know if Mike is still there.

17 MR. CRISOSTOMO: Mike, can you answer how -- could
18 you answer how, with the EPIC projects that have been worked
19 on thus far, is there a way to share data, and is data
20 publishable?

21 As he's walking up, I'll offer one point, Rajit.

22 MR. GADH: Sure.

23 MR. CRISOSTOMO: Tiny.CC/EV Reports was a project
24 of our former intern, Adam Orford, who was presenting this
25 thing last year at the research review. And that is a

1 compendium of the projects that were at least in progress.

2 So, Mike?

3 MR. GRAVELY: Oh, so two elements.

4 One, I think in the workshop on the 12th, we can
5 bring this up and develop an action item to share as much as
6 possible. But I will also caution people that in many cases
7 the data we're collecting is considered confidential or
8 individual or private and not always public, so we have to
9 find ways to do that. So just because we have data doesn't
10 mean we can share it openly amongst everything because of
11 the rules we have about individual customer's utility data.

12 But I think given this workshop in this area, I
13 think on the 12th, and then any other time you can do it,
14 through your comments here or with us direct, if there's a
15 way we can get together and do this, the purpose for this
16 workshop we have on the 12th is to share all these projects
17 and bring everybody together, and we will do that. So we
18 just need to agree, I think.

19 So one action item we'll take from this meeting to
20 bring into the 12th is to see if we can come up with a way
21 to do that and determine what data is available for sharing,
22 and other information that can be aggregated to help, but
23 we're more than willing to do that, and we're more than
24 willing to, as we go forward in the other contracts, we can
25 make it more significant. And it will be voluntary for the

1 people that are working now, but it may be mandatory for
2 people in the future.

3 MR. GADH: And can I make a second comment?

4 MR. CRISOSTOMO: Sure.

5 MR. GADH: Quick point.

6 MR. CRISOSTOMO: Very briefly, because we do have
7 Abigail.

8 MR. GADH: Briefly.

9 Okay, 15118, I was very excited to see the
10 discussion today. I think that there's a lot of investment
11 in sort of the current 1772 installation, Level 2 and Level
12 1 chargers. And I think that's what it -- because we don't
13 have the SOC, I think that moving in that direction is
14 great.

15 I think then, in addition to that, however, I
16 think that we should be open to methods to have even more
17 creative approaches before the interface between the vehicle
18 and the charging technology. And I think that there's a lot
19 of interesting innovation coming out of labs like ours that,
20 you know, I think that 15118 is great, but I think that we
21 could do more than that.

22 MR. CRISOSTOMO: Abigail?

23 MS. TINKER: Abigail Tinker, PG&E.

24 And I would like to say, in support of Amy's
25 question, that the Commission needs the record to make a

1 decision of which, if any, standards the CPUC should adopt,
2 and that sort of assumes that you should adopt a standard.

3 And we support the concept of the working group,
4 particular after observing today that there's -- we've heard
5 a lot about different VGI value stream, potential value
6 streams, and also different potential communication pathways
7 and communication standards that could access those value
8 streams, and that any -- that this working group could
9 provide an opportunity to set out what the criteria are, and
10 then make a choice based on those criteria, that record that
11 would allow you to show, why are we going in a certain
12 direction, not just jump right in and go in a certain
13 direction.

14 MR. CRISOSTOMO: Other commenters?

15 Urvi?

16 MS. NAGRANI: Urvi Nagrani, Motive Power Systems.

17 One of the notes that you had up earlier on your
18 points for discussion, which I think is kind of important to
19 come back to, which is how do we accelerate the driver and
20 social general customer benefits of using EVs to hasten
21 transportation and electricity decarbonization, which is a
22 mouthful.

23 Realistically, we are in the state of California
24 at a time when the U.S. is going through massive changes.
25 And we have to acknowledge the fact that politics plays a

1 role in everything. The last two years, when we did not
2 have the concern of having a federal government going in a
3 different direction than the state government, we were still
4 unable to pass the GGFR funding portions of the budget to
5 actually support any of the plans that we claim to support
6 in a timely manner.

7 Now I imagine that's going to get radically harder
8 as the state has already indicated multiple concerns with
9 the incoming president-elect's plans. And so any plan about
10 investing that does not include a solution that doesn't just
11 benefit the industry and doesn't just benefit regulators and
12 utilities, but society at large in a way that people see in
13 their daily life, is likely to be a political non-starter.
14 The budgets are likely to be delayed. And if the budgets
15 are delayed, then we might as well say we won't have a plan
16 or funding for another nine months, making it impossible for
17 small businesses to participate. So you're only going to
18 have the OEMs and utilities that have been participating and
19 dragging their feet for the last decade. That is obviously
20 not an optimal scenario.

21 So we need to think about if we are crafting a
22 solution, how do we include everybody in the viability of
23 that solution and extend it to all parts of our states,
24 including disadvantaged communities, minority groups, and
25 also rural areas outside of urban hubs where income is

1 slightly higher. I think all of that is going to revolve
2 around thinking about both fleets and private vehicles. And
3 we need to have an in-depth discussion on how these programs
4 fit into a broader, integrated approach in order to find an
5 effective solution.

6 So if your working group is purely technical, I
7 don't think we will find the solutions we need.

8 MR. CRISOSTOMO: To that point, if we are
9 uncertain the best structure of a group of not, maybe in
10 comments, add to this list of four.

11 What are indicators of success that, by the -- and
12 I'm speaking off the cuff, not the official position or the
13 PUC or the CEC, but what are the indicators of success by
14 the end of 2017 that would suggest that we, as a state, are
15 on the path toward grid-integrated infrastructure by 2020?

16 Again, I keep returning back to the slide of not
17 having a ton of time. So how do we structure the next
18 several months in the most effective way possible to
19 actually achieve our goals?

20 I've heard both sides say that the other is an
21 impediment to achieving goals. And there is truth somewhere
22 in those ranges of options.

23 And so how do we find the path forward, given the
24 market challenges, and potential failures that we've seen,
25 to resolve these types of questions in the way that we've

1 previously gone about solving the question -- solving the
2 problem?

3 This is your industry and your answers. So again,
4 welcome any comments verbally or through --

5 MR. DAVIS: I am not an OEM, but I do know several
6 of them and I talk to them a lot. Their planning horizons
7 are quite long. And every day they don't know what to make
8 extends the data that we're delivering large quantities of
9 these vehicles out by that much longer. So we are -- the
10 time truly is of the essence if we want rapid adoption of
11 these vehicles and by a simplified refueling experience.

12 I understand the impulse for getting more data
13 into the record so that the Utilities Commission has what it
14 needs. But I would also say, there is an absolute mountain
15 of data of existing studies that have been done on grid
16 integration using the various approaches. So, I mean, we
17 don't want for data. We don't want to long-term investments
18 in reports that have already been done for us. They're
19 there for anybody to explore.

20 So again, I understand that it sounds good, it
21 sounds so reasonable to say let's do another working group,
22 but I caution that. The same, you know, polarity you saw on
23 display today will be there waiting for us in any working
24 group.

25 So at the end of it, somebody's going to be

1 frustrated and disappointed, there's no question about that.

2 But the state has to send that signal. It has to do it
3 soon. And that's what we've been advocating for four years
4 now. And so that's why I guess I bristle a little when you
5 see me, when I hear the suggestion of, okay, let's form a
6 committee, let's start this again, because these
7 conversations have been had. They may not have been had by
8 everybody in this room, but they've been had. So that's --
9 the people that will arrive in any working group will be the
10 same people that have been unable to move past this
11 polarity.

12 And you even saw, again I would say this, in the
13 OVGIP Group, you had two sides of that. There's division,
14 even within that camp.

15 So again, I think you did see an awful lot of
16 people stacked up behind ISO 15118. I did not see as much
17 stacked up behind the alternative approaches.

18 The other thing I would say is that nobody is
19 suggesting that the OEMs be compelled at this point. The
20 point of regulation, let's remember, is the charging station
21 investments. There is no cost differential in those
22 charging station investments. You can get 15118 or non-
23 15118 for about, we're talking network stations here, about
24 the same price.

25 So that's why you hear me arguing, as I am. I

1 hope that doesn't sound unreasonable but that's my
2 perspective, which is what we're trying to get, is
3 perspectives.

4 Thank you.

5 MR. CRISOSTOMO: Thank you, Steve. That is a
6 legitimate point, because we have had this conversation, as
7 noted, footnoted in Appendix B, for literally years. So we
8 do need to act in some fashion. And we seek your feedback
9 on how to do that.

10 Adam?

11 MR. LANGTON: So, yeah, I'll be really quick.

12 What I've tried to reiterate a couple times is
13 that we don't think, at least I'll speak for BMW, we don't
14 think that selecting a single standard is the impediment in
15 this space. If you want to move quickly there are existing
16 communication options that we can use now to move quickly.

17 If you want to use 15118 and you go down that
18 path, what you've got to consider is that there are very few
19 vehicles right now that have 15118, and there are no
20 charging stations right now that have it. So we would be
21 several years away from being able to use it, if that was
22 the exclusive standard that we chose to use.

23 I think what we've seen here is actually that
24 there's a lot of -- there were several times where people
25 had to ask what a different acronym meant and what the

1 meaning of different terms meant. So it's clear that
2 there's not a common technical understanding. And if
3 there's not a clear technical understanding, then we're not
4 prepared to make regulatory decisions related to the
5 standards.

6 Thank you.

7 MS. DELEON: Hi. This is Nikki from EVgo again.

8 And going to one of the comments that was made
9 earlier, I think it's absolutely correct that we need to
10 think about what's happening in underrepresented
11 communities, and who are those stakeholders who aren't here
12 today.

13 And going back to one of the slides that Noel
14 showed earlier in the day, there was a circle that looked at
15 the utilities, the EVSPs, and also the OEM manufacturers.
16 And who's in the middle? The drivers. The drivers are not
17 here today.

18 And so what can we do to figure out the driver for
19 those drivers and evidence of those driver actually
20 capitalizing on that value?

21 So I think that is going to be a really
22 interesting outcome that we could be specifically measuring,
23 too, for understanding the value for the driver and the PEV,
24 and a pathway for those specific dollars to be getting to
25 them to reduce the cost of ownership.

1 MR. CRISOSTOMO: Thanks.

2 Craig?

3 MR. RODINE: Hi. Craig Rodine, ChargePoint.

4 I think it's important to recognize that the
5 rolling stock out there does have, if it's using DC fast
6 charging, and that's from U.S. and overseas automakers, with
7 the exception of those that support CHAdeMO, but they all
8 run a version of 15118.

9 And if, you know, GM, in its Volt which supports
10 that, reaches the kind of volumes that you hope a 200-mile
11 range, \$30,000-odd after federal tax credit vehicle will
12 reach, which we hope it will, and it's similar to, you know,
13 another model that's coming out, we will have a growth in
14 that standard. There are -- we are pretty confident that
15 OEMs can upgrade their -- as long as they've planned for it,
16 and that's TBD, but at least for the DC fast charging, they
17 can upgrade that to 15118. And that gives you a little more
18 traction than I'm hearing represented, as though there are
19 no cars out here now.

20 Thank you.

21 MR. CRISOSTOMO: Steve?

22 And let's close, since it looks like there's less
23 chomping at the bit.

24 MR. DAVIS: Yeah. I think that, you know, I
25 understand Adam's statement that he doesn't believe that a

1 common, unique standard is the impediment to doing VGI
2 because he can do certain use cases with telematics. But
3 that doesn't help Volkswagen Group or Daimler or several
4 other OEMs that I know who have plans to implement the
5 standard. Yes, there are no 15118 vehicles -- there's a
6 few, but there are very few of them out there to date
7 because this is a chicken-egg problem. You're not going to
8 get that unless you lay the foundation, lay the keel, if you
9 will, with this common, unique standard.

10 And we need to be thinking about skating, not to
11 where the puck is but where the puck is going to be. And
12 that's going to be more autonomous fleets that are out
13 there. And the fleet operators may want to have that fuel
14 included in the service. And that means that that vehicle
15 needs to be able to pay for itself. And that means you need
16 seamless roaming and plug-and-charge.

17 So again, these use cases we're contemplating
18 today, they're going to be evolving very, very fast. And we
19 do need a flexible standard for this association.

20 And again, coming back to one of the things we
21 want in our vision is dispatchability and resource
22 certification. That means meter association. And you're
23 not going to get that wirelessly. You're going to need to
24 have a hard wire that makes that vehicle associate with the
25 meter on the charging station which is contained in that

1 standard. So now you've got revenue-grade metering and the
2 battery together as a DER.

3 So that's how you get resource certification. And
4 I think that helps our folks over there at CAISO as they map
5 out how they're going to be aggregating and dispatching
6 these vehicles through third parties.

7 Thank you.

8 MR. CRISOSTOMO: Okay. And last question from
9 Stacy Reineccius at Power Tree.

10 Thank, if you could un-mute him?

11 And, Stacy, go ahead.

12 MR. REINECCIUS: Thank you. You know, a lot of
13 this, as the last several commenters have highlighted, it
14 about how do we make sure that we get more vehicles on the
15 road so that we reach the critical mass necessary to make
16 many of these activities cost effective to operate.

17 And I want to come back to, actually, the slide
18 that you're showing, and then another observation. Go back.

19 That one right there.

20 If you look in the lower left where you say site
21 host, you are missing two huge aspects that the site host
22 provides. They not only control access to the parking, they
23 provide the actual electrical infrastructure, and they pay
24 for it. And that can't be forgotten in any of the programs
25 the state is trying to undertake.

1 As we know and have filed recently with PUC, many
2 of the multifamily/multi-tenant properties have been
3 significantly underbuilt. So one, if you want to accelerate
4 deployment to the 42 percent of Californians and the
5 majority of the people who live in the major EV markets,
6 you've to put into place at the state level programs that
7 accelerate deployments into multi-tenant and multifamily
8 products. And you've got to remove the barriers in time by
9 putting some prioritization, maybe a declaration of state of
10 emergency by the governor could be assisting to doing that,
11 to move the utilities to move faster on upgrades and
12 installation work necessary to support EVs.

13 Right now we have the state declaring several
14 clean air policies as critical policies. But when it comes
15 down to the nuts and bolts and putting this into place, it
16 is delayed by the guy building a standard product.

17 So it is very important that this be a coordinated
18 effort, and that when you think about the doubling or the
19 tripling of the size of the market that can be achieved by
20 bringing all of the renters and all of the folks how live in
21 multi-tenant properties into the market, that's perhaps the
22 single most effective thing that we could be doing to
23 enlarge this market and impact GHGs, which are the goals.

24 Thank you.

25 MR. CRISOSTOMO: So seeing that there aren't any

1 other hands about to be raised, let's close the day.

2 I think that's a joke, Urvi.

3 I really want to thank my colleagues at the
4 agencies and CEC for wrangling this together on short notice
5 and in a coordinated fashion. We're doing this so that we
6 can help the industry out and achieve our state goals. So
7 let's find a way to work together quickly. And please send
8 comments to those points by next week.

9 Thank you. And I think all of these presentations
10 are docketed and online now. Thank you.

11 (The workshop concluded at 4:05 p.m.)

12

13

14

15

16

17

18

19

20

21

22

23

24


25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 28th day of December, 2016.



Kent Odell
CER**00548

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

December 28, 2016