

DOCKETED

| | |
|-------------------------|---|
| Docket Number: | 17-AAER-05 |
| Project Title: | Phase II Pre-Rulemaking |
| TN #: | 220609 |
| Document Title: | Transcript of 07/19/2017 Staff Workshop RE: Response Invitation to Participate |
| Description: | STAFF WORKSHOP ON RESPONSES TO INVITATION TO PARTICIPATE IN THE PHASE 2 APPLIANCE EFFICIENCY REGULATIONS & ROADMAPS: COMMERCIAL AND INDUSTRIAL FANS AND BLOWERS |
| Filer: | Cody Goldthrite |
| Organization: | California Energy Commission |
| Submitter Role: | Commission Staff |
| Submission Date: | 8/8/2017 3:15:26 PM |
| Docketed Date: | 8/8/2017 |

CALIFORNIA ENERGY COMMISSION

STAFF WORKSHOP

In the Matter of:) Docket No.
) 17-AAER-05
))
))
Phase 2 Pre-Rulemaking: Commercial) STAFF WORKSHOP RE:
and Industrial Fans and Blowers) Response Invitation
_____) to Participate

NOTICE OF STAFF WORKSHOP ON
RESPONSES TO INVITATION TO PARTICIPATE IN THE PHASE 2
APPLIANCE EFFICIENCY REGULATIONS & ROADMAPS:
COMMERCIAL AND INDUSTRIAL FANS AND BLOWERS

CALIFORNIA ENERGY COMMISSION
THE WARREN-ALQUIST STATE ENERGY BUILDING
FIRST FLOOR, ROSENFELD HEARING ROOM
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

WEDNESDAY, JULY 19, 2017

1:00 P.M.

Reported By: Kent Odell

APPEARANCES

CEC Staff:

Ryan Nelson, Appliances and Outreach and Education Office

Sean Steffensen, Appliances and Outreach and Education Office

Alejandro Galdamez, Appliances and Outreach and Education Office

Kristen Driskell, Appliances and Outreach and Education Office

Stakeholders:

Mary Anderson, PG&E, Representing IOUs

Joanna Mauer, Appliance Standards Awareness Project, ASAP

Michael Ivanovich, AMCA International

*Laura Petrillo-Groh, Air-Conditioning, Heating, and Refrigeration Institute, AHRI

Chad Worth, Energy Solutions

Greg Wagner, Morrison Products, Inc

*Louis Starr, Northwest Energy Efficiency Alliance

Michael Wolf, Greenheck Group

Tom Catania, Air Movement and Control Association International, AMCA

*Skip Ernst, Daiken Applied

I N D E X

| | |
|---|----|
| Introduction | 4 |
| Ryan Nelson, Appliances and Outreach and Education Office | |
| Staff Presentation and Discussion | 5 |
| Sean Steffensen and Alejandro Galdamez Appliances and Outreach and Education Office | |
| Break | 50 |
| Staff Presentation and Discussion | 51 |
| Sean Steffensen and Alejandro Galdamez, Appliances and Outreach and Education Office | |
| General Comments | 73 |
| Adjournment | 87 |
| Court Reporter's Certification | 88 |
| Transcriber's Certification | 89 |

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
P R O C E E D I N G S

JULY 19, 2017

1:00 p.m.

MR. NELSON: Welcome to the Participate Workshop on Commercial Industrial Fans and Blowers. Before we get started, just a few items we need to point out. If you need to exit the building please use the exit to the right, the main entrance that you came through. The exit to the left is alarmed and the alarm will sound if you use that exit without a key card. That said, in case of an emergency please use either exit to exit the building. We will meet diagonally across the street at the park and take a headcount of the building if that should occur.

Restrooms are located directly across from the hearing room today. As you exit the front doors of the hearing room they'll be directly across and there are also some to the right of the stairway. If you see elevators you've gone too far.

So today Alejandro, also known as Alex, will be presenting on Commercial and Industrial Fans and Blowers. The schedule on the screen is tentative, depending on how the meeting is moving forward. We'll adjust the schedule as need be. Hopefully, after a spirited discussion we can get you out of here a little early.

Throughout the presentations there will be points for discussion, so as Alex goes through his presentation we

1 will open it for comment. We will first take comment from
2 the room. If you're in the room currently and you would
3 like to make a comment raise your hand and introduce
4 yourself and the organization, wait for the court reporter,
5 and then give your comment or question.

6 And then we will take comments from the WebEx
7 online. And online you can use the "raise your hand"
8 function. And we will call on you online to give your
9 comment or ask a question. You can also use the chat box
10 online, if you prefer that, and we will try to get to your
11 written comment through the chat box.

12 At the end of the day we will have a session for
13 general public comments. If there is anything left to
14 discuss you can raise your questions or comments at that
15 time.

16 Are there any questions before we move on? Okay.
17 I'll hand it over now to Sean Steffensen. Go ahead, Sean.

18 MR. STEFFENSEN: Hi. I am Sean Steffensen,
19 California Energy Commission.

20 The Flow Chart addresses why we request the
21 information and how we plan to use it. We need the
22 information to define the problem, in this case an
23 inefficiency. The information provided helps then to
24 define the solution.

25 The Scope and Definitions provide the "what," of

1 what will be included in the standard, how we know what
2 will and will not be subject to the regulation.

3 The Efficiency Metric provides the measure by
4 which we can rank the performance of the individual
5 products. There can be more than one efficiency metric to
6 consider, one or more may be chosen to develop a standard.

7 The Test Method defines the conditions under
8 which the appliance is tested. Test data identifies the
9 role to performance among products that allows
10 consideration of a standard.

11 Once these items are selected, "Scope,
12 Definition, Test Method, Test Data and Standard," an
13 analysis must be performed to understand the effect of the
14 proposed regulation. Does the standard achieve the goals
15 of significant water and energy savings, while being cost-
16 effective and technically feasible? If So then it is a
17 good standard. If not, then we should reconsider the data
18 and modify the standard to meet the criteria.

19 MR. NELSON: Thank you, Sean.

20 Any questions on that?

21 (No audible response.)

22 Great. So on the screen now is a diagram of the
23 public -- of the Rulemaking Process. Currently we are at
24 the third stage there, the third icon with a blue arrow.
25 We are in a public workshop for the information to --

1 invitation to participate. And I'll hand it over to Alex.

2 MR. GALDAMEZ: Well, good afternoon. My name is,
3 as you know now, Alejandro Galdamez. I'm a Mechanical
4 Engineer for the California Energy Commission here in the
5 Appliances and Outreach and Education Office, within the
6 Efficiency Division.

7 Agenda-wise we are going to discuss the purpose,
8 the information requested. I'm then going to present a
9 summary of the comments received and open for a five-minute
10 discussion followed by a general-comments time where if we
11 don't have time to discuss the topics you guys can discuss
12 it then. Or other comments, the general comments that you
13 might have not pertaining to the topics, and then
14 concluding with an explanation of next steps to follow.

15 So the Energy Commission is gathering information
16 for Phase II products in its Appliance Efficiency
17 Rulemaking. The invitation to participate, or ITP, is an
18 opportunity for stakeholders to provide information and
19 data that will help shape the Energy Commission's policies
20 regarding the Phase II appliances.

21 The ITP requested information and data on the
22 following appliances, as you can see here: commercial and
23 industrial fans and blowers, general service lamps, spray
24 sprinkler bodies, tub spout diverters, irrigation
25 controllers, set-top boxes, low power modes and power

1 factor and solar inverters. For this meeting, however,
2 we're going to be discussing only the fans and blowers.

3 I would like to thank the following participants
4 for submitting their comments. That'll be the Air Movement
5 Control Association International, better known as AMCA;
6 Air Conditioning, Heating and Refrigeration Institute or
7 AHRI; University of Illinois at Urbana-Champaign -- sorry
8 if I kill that, it's my accent -- Trane; Cooling Technology
9 Institute, or CTI; Twin City Fan Companies, Ltd; Appliance
10 Standards Awareness Project, or ASAP; too Keith T. Lins and
11 Dale Price; Morrison Products, Inc.; the Greenheck Group;
12 Natural Resources Defense Council or NRDC; the Sacramento
13 Municipal Utility District or SMUD; the Ebm-papst, Inc.;
14 Acme Engineering and Manufacturing Corporation; California
15 Investors Owned Utilities, IOUs; and Northwest Energy
16 Efficiency Alliance, or NEEA.

17 Here we have a list of what we requested from the
18 ITP. These are going to be the topics that we are going to
19 be discussing today, as we go, and I'll be providing some
20 summary of them.

21 So let's start with Product Definition and Scope.
22 Definition-wise, we got some definitions submitted
23 independently. Others reference definitions made -- just
24 to use the ones on industry. Also the ones for AMCA 210
25 and definitions provided in the U.S. Department of Energy,

1 DOE's 3rd Notice of Data Availability, or NODA.

2 So these were all the definitions that were -- or
3 comments that were submitted for the definitions to be
4 used.

5 Scope-wise, the scope of the test procedures, the
6 majority of the comments received should be for: axial
7 cylindrical-housed fans, panel fans, centrifugal-housed and
8 un-housed fans, inline and mix-flow fans, radial housed,
9 and power roof ventilators.

10 It was also suggested that the fans listed above
11 be greater than 1 brake horsepower, but less than 150 air
12 horsepower.

13 As for the scope California should also look at
14 the possibility to include fans embedded in non-regulated
15 equipment, follow a specific set of steps to assure those
16 are within the scope.

17 Additional comments also refer -- there was a
18 consensus that the exemptions of the California -- that
19 California should implement sorry, for the proposed
20 regulations should be the ones agreed on the ASRAC term
21 sheet addressed on the DOE's 3rd NODA.

22 Consensus also was on what should be included to
23 be that, that was concluded through the agreements made
24 through ASRAC negotiations and that were reflected also on
25 the 3rd NODA.

1 So as for Product and Scope, we're going to enter
2 our first discussion time. Most comments, the session
3 questions to bear in mind is most comments point to the 3rd
4 NODA for the definition and scope, including exemptions.
5 Should California adopt the scope and the definitions of
6 DOE's 3rd NODA and ASRAC term sheet? Why and why not?
7 Could California consider fans to operate under 1 brake
8 horsepower and greater than 150 air horsepower within the
9 scope? Why and why not? Should California implement a
10 procedure to regulate embedded fans in non-regulated
11 appliances?

12 So now I'm going to open it up for five minutes,
13 so raise your hands if you have any comments or any online.

14 Nothing online? Oh, hold on.

15 MS. ANDERSON: So this is Mary Anderson, on
16 behalf of the California IOUs. So we support the Energy
17 Commission using the Fan Energy Index as the regulated
18 metric -- oh, sorry.

19 MR. GALDAMEZ: Scope.

20 MS. ANDERSON: Sorry, my bad.

21 So we continue to support the scope of the ASRAC
22 term sheet as it pertains to stand-alone fans and embedded
23 fans.

24 MS. MAUER: This is Joanna Mauer, with the
25 Appliance Standards Awareness Project. We continue to

1 support the scope of coverage that's in the ASRAC term
2 sheet. That scope was agreed upon by a wide variety of
3 stakeholders and we think that it makes sense as for
4 initial Fan Efficiency Standards. It certainly could be
5 expanded, but we don't -- we think that sticking with what
6 was agreed in the term sheet makes sense for California for
7 now.

8 And in terms of definitions the term sheet didn't
9 include definitions. We think the definitions in the 3rd
10 NODA are, at least, a good starting point for CEC.

11 I know, as part of the AMCA 208 Committee, that
12 Committee is also considering incorporating some
13 definitions as part of that standard. So that may also be
14 able to be helpful to CEC in coming up with definitions.

15 And then the term sheet also included
16 recommendations regarding the treatment of embedded fans.
17 There was a lot of discussion during the ASCRAC Working
18 Group about embedded fans. We came up with an approach,
19 which I think was a good compromise, addressing a variety
20 of concerns related to that topic. And the compromise,
21 essentially, is that fans that are included in regulated
22 equipment and where the efficiency metric captures at least
23 to some extent the energies of those fans, that those fans
24 would be excluded. And then other fans embedded in
25 equipment would be included as part of the standards. And

1 we think that that approach in the term sheet makes sense
2 for embedded fans.

3 MR. IVANOVICH: Excuse me, this is Michael
4 Ivanovich from AMCA International. And we just simply want
5 to reiterate that we covered these questions in our written
6 comments to the docket and there's been no change. Thank
7 you.

8 MR. GALDAMEZ: Any more -- oh, we got two online?

9 UNIDENTIFIED SPEAKER: Mm-hmm.

10 MR. GALDAMEZ: Okay. Let me see, don't --

11 (Off mic colloquy.)

12 Oh, go ahead Laura. You can go ahead and talk.

13 MS. PETRILLO-GROH: Hi, this is Laura Petrillo-
14 Groh from AHRI and, you know, AHRI did not end up signing
15 off on the final term sheet. And one of our main problems,
16 as I know no one will be surprised with, is the provisions
17 that were included for embedded fans. I know that's a
18 little bit more information about when California said they
19 intend to exclude fans in regulated products, is that some
20 fans or all fans and then regulated by whom? Is it DOE or
21 the State of California through ASHRAE 90.1; can you
22 provide any other details on that statement?

23 MR. GALDAMEZ: We're just gathering comments
24 right now. That's a good question. I'll have to look into
25 it to more detail. And then maybe talk to you in a one-on-

1 one on where we're trying to go. But if this is something,
2 maybe an idea, maybe submit them as part of your -- how do
3 you call it -- not the proposal to submit, our next step,
4 basically. Yeah, the proposal.

5 MS. PETRILLO-GROH: Yes, that's put in. Thank
6 you.

7 As for the next step yeah, as much information as
8 California has collected so far, would be very helpful to
9 those in the public who've been asked to essentially put
10 together a draft regulation showing cost-effectiveness of
11 regulating fans. It's difficult when the -- on what scope
12 should be used for analysis if we don't have an idea of
13 what is intended to be regulated.

14 MR. GALDAMEZ: As most of the information that we
15 are aware of it's basically coming direct from the DOE,
16 from what DOE has already worked on, plus the information
17 that we just received through this ITP. But if you would
18 like we can discuss that in more depth at a separate time.
19 It seems like the questions are a little more than I can
20 answer you right now. I don't want to be miscommunicating
21 or saying anything that -- where I don't have the
22 information in front of me.

23 MS. PETRILLO-GROH: A follow-up? Yeah, a follow-
24 up would be appreciated. Thanks, Alex.

25 MR. GALDAMEZ: You're welcome.

1 Skip, you can go ahead and participate. Hello?

2 (Off mic colloquy._

3 Oh, so I guess he doesn't have a mic. Okay, so
4 anybody else in the room? No? Okay.

5 Okay, so let's move to the test -- let's talk
6 about comments for received for Test Procedure and the
7 Metrics.

8 According to AMCA 205, a comment was received
9 that the European Union is using this. However, this
10 standard does not take in consideration motor/drive
11 influences or sizing of the fans. Consensus of the
12 comments received though, reflected that AMCA 210 should be
13 the test method for fans and blowers.

14 As far as the Metric goes, a discussion was given
15 during the ITP that the metric used for the European Union
16 is the Fan Efficiency Grade or FEG, and the Fan Motor
17 Efficiency Grade or FMEG. One of those does not consider
18 the motor/drive influences and the other one does not
19 consider sizing.

20 However, AMCA 207, and the one that's being
21 worked on right now by AMCA 208, uses the FEP or the Fan
22 Electrical-input Power, to calculate a weighted Fan Energy
23 Index or FEI.

24 In addition to those, those metrics, the
25 following were also suggested. And that was cubic feet per

1 minute per watt, or CFM per watt metric for agricultural
2 purpose fans. Another metric that was suggested was to go
3 back to the 1st NODA by DOE. And it was suggested to use
4 the best efficiency point metric, which is a metric based
5 on an average of three operating points of the fan.

6 The majority of the comments received have
7 consensus of utilizing the FEP and FEI metric as discussed
8 in the 3rd NODA by DOE.

9 As far as the Test Procedures and Metric
10 Discussions, we have some questions that we would like to
11 ask. Is there data supporting a CFM per watt metric to be
12 better than the FEI metric being suggested? Could FEI also
13 be utilized for agricultural purpose fans? Should
14 California develop a different metric for agricultural
15 purpose fans, why or why not? Is there data supporting
16 that a BEP metric will provide a better basis for a
17 standard?

18 And so I'll open it now for discussion, if
19 anybody has any comments, for five minutes.

20 MR. WORTH: Chad Worth on behalf of the Cal IOUs.
21 I just wanted to reiterate our support for the FEI/FEP
22 framework as outlined in the term sheet and how this
23 conversation has evolved to support FEI as the regulated
24 metric through Title 20.

25 We've been engaged in this process through the

1 FEG and the PBR and the FER and FEP. And we're happy how
2 it's evolved into the FEI and think it'll provide many
3 benefits.

4 MR. WAGNER: This is Greg Wagner of Morrison
5 Products, my comments concern overlapping between Test
6 Procedure and Scope. And we talked briefly about including
7 embedded -- fans embedded in equipment. The test procedure
8 identified 210 is for a fan only and not equipment. I
9 guess the question would be how does the Commission look at
10 evaluating embedded fans in equipment and the performance
11 thereof? Thank you.

12 MR. GALDAMEZ: So thank you.

13 Anybody online, no?

14 Should I move on or everybody okay? All right.

15 MS. MAUER: This is Joanna with ASAP. Maybe just
16 at a high level we really see the value of the FEP/FEI
17 framework as both driving in proof and design and also in
18 proof and selection. And we see a lot of potential upside
19 to that approach.

20 The way the FEP/FEI metric is designed is to
21 really take into account that the inherent efficiency of a
22 fan varies with flow and pressure. And therefore, the
23 single metric can really capture a wide variety of
24 applications, because it does take into account that
25 variation and inherent efficiency with flow and pressure.

1 And we see more potential upside compared to
2 what's referred to here as the BEP metric, because our
3 understanding is that that BEP metric, the practical impact
4 would really be to limit the maximum speed of -- rate and
5 maximum speed of fans. The FEI metric would also do that,
6 but would go further in driving a better fan selection.

7 MR. GALDAMEZ: Thank you. And I saw, did Louis
8 Starr raise her hand or his hand? I can't -- I don't know.

9 MR. STARR: Yes.

10 MR. GALDAMEZ: Yeah? Okay, go ahead.

11 MR. STARR: So this is Louis Starr with Northwest
12 Energy Efficiency Alliance. And So I wanted to kind of
13 just provide a little bit of history on how we ended up
14 with the FEI metric.

15 But I'll say that we, just energy advocates and
16 AMCA met prior to the start of the rulemaking for the NOPR
17 on fans. And through much work with development with AMCA,
18 we kind of came about with this FEI metric. And some of
19 the other -- and also during the ASRAC process, we were in
20 negotiated rulemaking for test procedures and then
21 ultimately kind of got around to setting levels. But much
22 time was spent on coming to the conclusion in the FEI.

23 And I -- some of these other suggestions, these
24 are fairly new, the two. In other words, they weren't
25 brought up during the rulemaking and weren't in the private

1 negotiations. And it just seems like this is somewhat of a
2 Johnny-come-lately on it. And I just don't really see the
3 purpose of investigating those anymore.

4 And then the BEP metric, it's sort of a throw-
5 back to what happened on pumps. And while the initial idea
6 of it wasn't really applicable, so I would encourage as
7 stated the FEI metric.

8 MR. GALDAMEZ: Thank you.

9 I see Laura Petrillo, also heard your hand is
10 raised. I don't know if you have a comment?

11 MS. PETRILLO-GROH: It was raised from before.
12 Let me put it down. Thank you.

13 MR. GALDAMEZ: Okay, thank you.

14 Oh yeah, go ahead. Please?

15 MR. IVANOVICH: This is Michael Ivanovich from
16 AMCA International. And we'd like to reiterate that we
17 support use of AMCA Standards 207, 208 and 210 for this
18 rulemaking. 207 is a method for calculating efficiency
19 when the test is not conducted. And 208 is under
20 development and we want to emphasize that that's an AMCA
21 standard process. And although it's going to be an AMCA
22 standard, that the 208 Committee does include members from
23 industry outside of AMCA membership. So we wholeheartedly
24 endorse that of course. And of course, 210, which is the
25 test standards that's been in existence for decades.

1 Thank you.

2 MR. GALDAMEZ: You're welcome. Thank you.

3 MR. WOLF: Mike Wolf. Just to clarify a little
4 bit on the other metrics that are listed there besides the
5 FEP and FEI, I think it's important to understand the
6 primary distinction between those other metrics. They're
7 primarily a single point metric, so there's reference made
8 to a BEP, or Best Efficiency Point.

9 So for example on FEG and FEG or FMEG, they're
10 basically a single point metric that reflects the fan's
11 efficiency at its best operating point. And the reality is
12 in most, probably almost all applications the fan never
13 runs at its best operating point. So if we start designing
14 fans to have a high-peak efficiency at one point the
15 opportunity to actually save energy in the real world could
16 be diminished, actually.

17 And the same thing goes for the CFM per watt. I
18 believe that metric has to be at a given point of operation
19 at a certain pressure.

20 So as a result, for example FEG, if you look into
21 ASHRAE 90.1 there are a number of exceptions to using that
22 metric in ASHRAE 90.1 as well as some additional
23 requirements to specify that the fan needs to be selected
24 within a certain number of points of the peak efficiency in
25 order to gain any energy savings.

1 So the FEP and the FEI that's being looked at and
2 was agreed to in the DOE, of the ASRAC term sheet that was
3 submitted to the DOE as Joanna mentioned, kind of
4 accomplishes two things: it will drive positive behavior on
5 the part of the fan manufacturers to build more efficient
6 products across the entire operating range that those
7 products will be used. As well as providing a real nice,
8 useful tool to the marketplace in order to apply those fans
9 correctly.

10 So I think that's an important distinction to understand
11 between the various proposals that have been shared.

12 MR. GALDAMEZ: Thank you.

13 Okay, so I don't see any comments online, so --
14 no, right? Okay.

15 So let's continue there.

16 So Source of Test Data, California has grounds in
17 our eyes -- part of the -- and there is consensus for
18 commenters on the Test Data provided as part of the 3rd
19 NODA.

20 These are the data that was viewed was the
21 Engineering Analysis; the Government Regulatory Impact
22 Model, or GRIM; the Life-Cycle Cost Analysis, LCC; and the
23 National Impact Analysis or NIA.

24 So Sources of Test Data Discussion, how should
25 California analyze the Engineering Analysis, LCC, NIA and

1 GRIM to be representative of California? Should California
2 use a simple percent value for the data analyzed? If So
3 what percentage would be representative of California?

4 MR. CATANIA: Tom Catania, Consultant to AMCA.

5 For purposes of those who aren't regular
6 participants in CEC Proceedings, is there any way that you
7 can make available to us information about how California
8 does its own version of GRIM and how, what variables it
9 uses, and how it assigns weight to the various elements?
10 Particularly, obviously of the environmental benefits and
11 so forth associated with any calculation of the economic
12 value of those benefits?

13 And I'm not anticipating that there's an issue
14 there. It's just that we're just not familiar with the
15 factors that go into and the weighting and economic dollars
16 that you assigned to it.

17 MR. GALDAMEZ: Would it be best to submit it into
18 the docket, an explanation, so that everybody --

19 MR. CATANIA: Yeah, that would be fine.

20 MR. GALDAMEZ: -- then can get it from there and
21 participate that way, I mean to understand it?

22 MR. CATANIA: Yeah, that would be fine.

23 MR. GALDAMEZ: Okay, will do.

24 Go ahead.

25 MR. IVANOVICH: This is Michael Ivanovich from

1 AMCA. And with respect to the data that were analyzed,
2 AMCA is in the process of re-surveying members for more
3 recent data. The data that DOE used -- they used our data
4 -- we're not quite sure right now, but that's from 2012
5 from our own survey. And those data are old and our
6 analyses are more sophisticated, but it's going to take a
7 while to get that dataset, understandably, given the scope
8 of the parameters that we're being asked to provide. So
9 all I'm saying is that it's going to take a little time to
10 get that data, but that data is going to be very useful for
11 this rulemaking.

12 MR. GALDAMEZ: Good.

13 Greg, go ahead.

14 MR. WAGNER: This is Greg Wagner, Morrison
15 Products. I would echo what Michael said. I'm glad that
16 AMCA is relooking at that. Because when the data was
17 submitted to DOE it wasn't per the test procedure that was
18 agreed to in term sheet, because that procedure didn't
19 exist at that time. And so therefore the data that goes
20 into that analysis wasn't accurate. And it didn't include
21 things like tolerance of test, tolerance of manufacturing.
22 The other things it didn't include were cost to redesign
23 fans and blowers accurately. It didn't include the cost of
24 manufacturing higher -- or more expensive, higher
25 efficiency fans.

1 If you look at the DOE model, basically, all of
2 them have flat costs. So if you project outward, the fans
3 would start paying for themselves in a few years, because
4 it's basically free to get a higher efficient fan. And
5 which begs the question of why aren't people using more
6 efficient fans if they don't cost more?

7 And then finally the cost of replacement or of
8 replacement and looking at replacement fans wasn't fully
9 accounted for. It's something that safety reasons, fans
10 need to be replaced with like-for-like in many HVAC
11 appliances, because in essence it's starting fires inside
12 people's building multiple times a day. And so safety is
13 an important factor.

14 MR. GALDAMEZ: Mike Ivanovich?

15 MR. IVANOVICH: I just want to clarify that the
16 AMCA survey is not going to include all those parameters,
17 because the parameters that are necessary for energy
18 savings calculations only attributable to the metric and
19 the scope.

20 The other data that he is talking about, I think,
21 were provided by DOE's own analyses and we weren't party to
22 that.

23 So that's it. Thanks.

24 MR. GALDAMEZ: Anybody in the room? No?

25 Okay. I --

1 MR. STARR: This is Louis.

2 MR. GALDAMEZ: Yeah, go ahead Louis. Go ahead.
3 I was just going to come to you.

4 MR. STARR: I just have maybe a clarification a
5 little bit. Is the new data that's going to be collected,
6 (indiscernible) the data that was collected in 2012 was
7 performance data. And I'm trying to understand, while it
8 obviously is great to have the newest information what kind
9 of new information is going to be provided that's going to
10 help make the decision about setting the levels that's
11 different than the information?

12 I mean, I agree that it's important, but I'm just
13 about thinking about the timing of it. And I'm trying to
14 understand, in the new data that AMCA is collecting, what
15 is the value proposition as opposed to just the data being
16 new? I mean, maybe someone at AMCA can help you on that?

17 MR. IVANOVICH: Well, one major difference in the
18 data protocol Louis -- this is Michael Ivanovich -- is that
19 we did not ask for fan speed in the original dataset and
20 it's a very important parameter for using the FEI metric.
21 And there's other parameters as well that --

22 MR. STARR: Okay.

23 MR. IVANOVICH: -- that California was asking for
24 specifically that are now included in the protocol.

25 MR. STARR: All right. Yeah, I think that would

1 be important for the, I guess, the California Energy
2 Commission to look at that parameter and make sure that is
3 an important element in figuring out. In other words, is
4 it necessary?

5 I sort of asked that same question of some people
6 that had done the original analysis, an LBNL. And I had
7 asked them if that was an important data. And they had
8 sort of indicated that it used to be, but how the fan
9 metric changed in the negotiated rulemaking was not as
10 important. That being said, it's probably not at this time
11 to figure it out, but it is certainly worth I think, of the
12 CEC to investigate the importance of that in making sure.

13 You know, obviously, re-collecting this whole set
14 of data means you would have to redo a lot of the work that
15 DOE did. And if it doesn't have much effect then you don't
16 want to do a lot of work for little or low value of current
17 -- you know, not much gain in value.

18 MS. MAUER: This is Joanna with ASAP.

19 Greg, I'm a little confused by your comment about
20 costs at least looking at DOE's latest analysis for NODA 3,
21 because they do show increasing installed costs with
22 efficiency levels. That increased cost is significantly
23 outweighed by the energy bill savings, because the lifetime
24 operating cost of a fan is much greater than the initial
25 installed cost. But DOE's latest analysis does show higher

1 installed costs with higher efficiency levels.

2 MR. WAGNER: This is Greg. I would say that it
3 did not include any equipment size changing, space
4 changing, that's oftentimes required in order to increase
5 efficiency, so those equipment cost changes weren't
6 accounted for or installation costs weren't accounted for.

7 The other thing is there's still many of them
8 that have flat cost curves, all the way from EL 1 or EL 0
9 or whatever it is, the lowest one, all the way up to EL 6.
10 They had flat cost curves. And that is not necessarily the
11 case, anyhow, not for like-for-like at the same operating
12 point.

13 MR. GALDAMEZ: I see Laura has her hand raised.
14 Laura?

15 MS. PETRILLO-GROH: Hi. Yes, Laura Petrillo-Groh
16 from AHRI. One question for CEC to clarify, so does CEC
17 have access to the DOE's raw data, the original data phase
18 Or simply the publicly-available data that the DOE has
19 published?

20 MR. GALDAMEZ: Only the public data. That's what
21 we have looked at.

22 MS. PETRILLO-GROH: Okay, thank you. So the AHRI
23 has noted errors in the analysis with respect to embedded
24 fans, including number of operating hours the fan was
25 assumed to be performing. The DOE assuming that an

1 increase of a fan size of two inches in diameter wouldn't
2 impact the housing in which the fan resides and I think the
3 -- and that had significant impacts on cost and performance
4 of the products in which the fans are embedded, as well as
5 on the consumers, who are going to be purchasing the
6 overall piece of equipment. So I would support waiting for
7 additional collection of data, new collection of data from
8 AMCA with important features.

9 And I would also suggest that that data be
10 supplemented by embedded fan manufacturers. There, during
11 the original surveys of our manufactures it seemed as if I
12 remember correctly, about 80 percent of our manufacturers
13 buy the impeller and shaft and motor and install that in
14 their own housing, directly into the embedded equipment.
15 So they do not purchase a fan and the fan never exists as a
16 stand-alone fan. So that impact was never accounted for in
17 the DOE's analysis.

18 MR. GALDAMEZ: Okay, thank you.

19 MS. PETRILLO-GROH: Thanks.

20 MR. GALDAMEZ: Also I'd like to reiterate in
21 regards to test data or data if anybody else has data
22 supporting a different point of view, please, by all means,
23 submit it to the docket so that we can take a look at it.

24 Let's see, one more question here? Go ahead.

25 MS. MAUER: This is Joanna. I just wanted to

1 point out that I think AMCA had acknowledged with their
2 original data submission that it was representative of a
3 certain portion of the market, not the full market. And so
4 what DOE did in their 3rd NODA was to augment the AMCA
5 data, I think with the specific purpose of better capturing
6 sales of forward-curve fans and better capturing these
7 fans, these kind of OEM fans that I think Laura was
8 referring to as well as incorporating OEM conversion costs.
9 So DOE did at least did attempt to augment the AMCA data to
10 better capture the full market.

11 MR. GALDAMEZ: Thank you.

12 Go ahead, Mike.

13 MR. WOLF: It's Mike again from Greenheck. Can
14 you clarify again if we're interested in submitting data,
15 but we don't want it on the docket how do we go about doing
16 that?

17 MR. GALDAMEZ: If you have data, but don't want
18 to submit it on the docket you can contact me directly and
19 I'll see -- if it's proprietary then we have to go through
20 the whole proprietary process. If it doesn't match that
21 definition by Legal then I can go get a one-on-one to get
22 the data and talk to you directly and go that route.

23 However, once I think that -- and don't quote me
24 on this -- I think once we are closer to finalizing the
25 process or through the next step that data has to, in a

1 way, be public or become public, because it's part of the
2 public record, right?

3 Go ahead.

4 MR. CATANIA: I have a question about data that's
5 available to California about the California situation,
6 specifically. There was an earlier reference to people who
7 might not be buying more efficient fans despite the payback
8 period being relatively short and that that would seem to
9 be an irrational choice. But does California have access
10 to any data in the commercial sector, at least, where it
11 identifies what percentage of the people in the building or
12 who built the building actually pay the energy bill as
13 compared to the residents of the building, so to speak, or
14 tenants paying the energy bill?

15 Therefore, where the economic value of a more
16 efficient fan would actually rebound to the benefit of the
17 building occupant paying the bill rather than the building,
18 either developer or supplier to the building?

19 MR. GALDAMEZ: That's a good question. I'll have
20 to look into it. I'm pretty sure we might be able to have
21 access to that data. Again, I'm not familiar with the
22 entire picture of the CEC. I just started in December, but
23 I'll look into it for sure. Thank you, that's a good
24 point.

25 MS. ANDERSON: So this is Mary from PG&E. The

1 CPUC, the CEC's sister agency, has done a few studies on
2 commercial split -- we call that the split incentive: owner
3 versus renter. It isn't specific -- so it has that as a
4 general commercial percentage, but not according to the
5 type of building. But that data is publicly available and
6 we can include that in one of our submissions to the
7 docket. The utilities can submit that.

8 MR. CATANIA: Good. If I could just follow up on
9 that -- this is Tom Catania again -- how about for public
10 buildings? So in that case you would always have I guess,
11 the public entity as the tenant paying the utility bill.
12 And is there a break-out of public building, schools,
13 government buildings and so forth?

14 MS. ANDERSON: Not positive. It's been a little
15 while since I've read those studies. My gut is no, but we
16 can give a general percentage.

17 MR. GALDAMEZ: I see Louis, you still have your
18 hand up. Do you have another -- you would like to
19 participate again or Mr. Starr? No? Okay.

20 So with that, let's go to the next topic for now.

21 For Existing Standards & Standards Under
22 Development, DOE has developed significant analysis
23 presented in the 3rd NODA. This analysis demonstrate
24 consensus around FEI as a metric for the standard. There
25 is currently no efficiency standard for commercial fans and

1 blowers in the U.S. and California, as well.

2 So we're going into another discussion topic.
3 And here are some of the questions: Is it feasible to set
4 an efficiency level higher than EL 3 for fans as discussed
5 in the 3rd NODA? Why or why not? Should California
6 incorporate the work already done under the DOE 3rd NODA in
7 all of what was agreed upon? Would a tiered standard be
8 more beneficial to California?

9 So I open the floor for you guys to discuss.
10 Yes, Mike.

11 MR. IVANOVICH: This is Michael Ivanovich from
12 AMCA International. There are AMCA comments regarding the
13 3rd NODA in the public docket and we'd like to reiterate
14 those. As well as a comment -- as a correction to a
15 comment to the ASRAC term sheet that was made -- authored
16 by Mark Stevens regarding test speed. And we'd like to
17 reiterate that, as well.

18 MR. GALDAMEZ: Okay, thank you.
19 Go ahead.

20 MR. STARR: This is Louis. Can you hear me?

21 MR. GALDAMEZ: Oh, hold on Louis. I'm going
22 around the room now, my apologies.

23 MR. STARR: Oh, okay (indiscernible).

24 MR. GALDAMEZ: I'll let you know when I'm ready
25 for you.

1 MR. STARR: Okay, thank you.

2 MR. GALDAMEZ: Great. No problem.

3 Go ahead.

4 MR. WAGNER: I'm Greg Wagner, again. With regard
5 to that --

6 UNIDENTIFIED SPEAKER: Turn your mic on, Mr.
7 Wagner.

8 MR. WAGNER: I'm sorry. Yes, sorry. Better?

9 With regard to the feasibility of efficiency
10 level, as mentioned before the analysis that was done by
11 DOE looking at test data from AMCA and elsewhere, test data
12 that was provided and done by manufacturers isn't to the
13 agreed-upon term sheet and so the analysis is not
14 necessarily complete. There are things that are missing
15 from that that include the speed of tests as discussed, as
16 well as tolerances for manufacturing, uncertainty of
17 measurement and other things. So that analysis needs to be
18 done in order to evaluate the efficiency level that would
19 be set by any entity that wants to regulate commercial and
20 industrial fans and blowers.

21 Similarly, the cost side of it wasn't complete
22 either as mentioned before.

23 MR. GALDAMEZ: Thank you.

24 Anybody else in the room that would like to go?
25 Oh, go ahead.

1 MS. MAUER: This is Joanna. So DOE's analysis
2 shows that the greatest energy savings and economic
3 benefits would be achieved at the highest efficiency
4 levels. However, of course when you're setting an
5 efficiency level it's a balance between benefits for
6 consumers and impacts on manufacturers.

7 As part of the ASRAC Working Group it wasn't
8 included in the term sheet, wasn't something we voted on,
9 but AMCA and efficiency advocates did jointly present a
10 recommendation for efficiency levels that essentially was
11 something between EL 3 and EL 4. And something in that
12 range, EL 3 to EL 4, is what we believe was a reasonable
13 kind of compromise between on the one hand benefits for
14 building owners and benefits of energy savings. And on the
15 other hand, impacts on manufacturers.

16 So we continue to support those levels that we
17 agreed on in that EL 3 to EL 4 range.

18 MR. GALDAMEZ: Thank you.

19 MR. WOLF: Mike Wolf, Greenheck. Alex, could you
20 just explain a little bit more, I guess I'm not familiar
21 with what a tiered standard would entail?

22 MR. GALDAMEZ: Say that again, I couldn't hear
23 you.

24 MR. WOLF: I said I'm not familiar with what a
25 tiered standard would entail. Can you maybe explain that a

1 little for me.

2 MR. GALDAMEZ: Oh, a tiered standard basically is
3 saying for example, choosing Efficiency Level 3 right, and
4 say in five to ten years for it to move to Efficient Level
5 4. So there are like two tiers at different dates that
6 will like become effective, depending on the date, so
7 that's what I mean by tiered, a tiered regulation, right?
8 Trying to like allow manufacturers to -- if they need to do
9 some R&D right, to catch up to that tier. And be ready for
10 the next one in knowing beforehand that that's going to
11 take place in say five or so many years in the future.

12 Oh, go ahead Mike. Mm-hmm.

13 MR. IVANOVICH: I wanted to provide one quick
14 clarification on the EL 3 statement position that AMCA took
15 is as Joanna is absolutely correct, it was between EL 3 and
16 4, but we were also recommending that the compliance date
17 be four years after the published rule. And so I think
18 that merits -- if your compliance data is one year after
19 your rule that sets up the timetable possibly enough that
20 we might want to take a quick look at that.

21 MR. GALDAMEZ: Okay.

22 MR. IVANOVICH: Thank you.

23 MS. MAUER: And thanks for that clarification,
24 Michael. And you're absolutely right, it's the combination
25 of the two things that's important.

1 MR. WOLF: This is Mike again. So that brings me
2 back to the tiered standard approach. What is the normal,
3 I guess enforcement timeframe from the time the rule is put
4 out to when manufacturers will have to comply?

5 MR. GALDAMEZ: I will need some help on that. Do
6 you know?

7 (Off mic colloquy.)

8 Go ahead Sean.

9 MR. STEFFENSEN: Well, as we propose regulations,
10 there'll be a proposal. It'll be put on by the Commission,
11 adopted by the Commission, then go to what we call the
12 Office of Administrative Law. They'll then review our
13 process, ensure it meets all requirements at which point it
14 will be published with the Secretary of State.

15 In that proposal, we'll note an effective date
16 for the standard. As of that date we typically will then
17 require that products that are manufactured on or after
18 that date meet the standard. And of course, the proposal
19 would provide that effective date. We typically provide at
20 least one year as our practice between adoption by the
21 Commission and the effective date.

22 But that would be part of the proposal and we
23 would look to those participants to suggest effective
24 dates.

25 MR. GALDAMEZ: Okay, Mr. Starr, go ahead online.

1 MR. STARR: Okay, great. Can you hear me?

2 MR. GALDAMEZ: Yes.

3 MR. STARR: So a couple things, so I wanted to
4 echo Joanna's comment and clear it up a bit more, put it in
5 a more eloquent way. The other thing I would like to speak
6 to is a little bit on the idea of tiered efficiency
7 standards. And my general thought is we would probably not
8 -- or my preference would not want to be that. I think
9 what you'll find is that as the market matures more, you'll
10 have more information. In order to make a more educated
11 marketing you lock in what those efficiency standards are.
12 Eight years out you may regret the levels that you choose,
13 especially if you end up there's a lot more opportunity.
14 So my recommendation would not be to shoot doing a tiered
15 thing where you have multiple levels out.

16 It also in my mind, will affect the ability to
17 incentive programs to get to higher levels. And I think
18 based upon California's efficiency goals and what they're
19 trying to achieve, that would not be a good approach for
20 trying to meet some of your ambitious goals around that
21 zero energy and a few other things.

22 The other item I -- sorry, I'm learning about
23 unmuting and muting and all that -- I wanted to pick up on
24 the last one, the second one. And it's the necessary -- so
25 I talked to Sanaee, who is one of the people that headed up

1 consultants for DOE last week. And I talked to her
2 specifically about fan speed. And in that call she
3 indicated that the reason the fan speed was necessary was
4 when they were doing the best efficiency point and they
5 were using it, that's when it was necessary to know what
6 the fan speed was in the data.

7 In the act of switching to a metric that involves
8 the FEI and it's not really around that, I don't know that
9 that information is necessary. So I feel like you may have
10 the data in the current database, but you need to make some
11 decisions about efficiency levels and some other things.
12 So that's what I had to say. Thanks.

13 MR. GALDAMEZ: Thank you.

14 And I see Ms. Petrillo also has a comment.

15 MS. PETRILLO-GROH: Yes, hi. I think a tiered
16 implementation would be beneficial if you are looking at
17 regulating fans embedded in equipment, especially those
18 products that are regulated by -- there was no
19 clarification provided earlier -- in California, within the
20 California and ASHRAE 90.1, it'll be practically impossible
21 to implement and revise efficiency for the component in the
22 product simultaneously.

23 MR. GALDAMEZ: Okay, thank you.

24 MS. PETRILLO-GROH: Thank you.

25 MR. GALDAMEZ: Anybody else in the room? Yeah.

1 Go ahead, please.

2 MR. WAGNER: This is Greg again. I wanted to
3 correct a little bit what Louis was stating there. And the
4 difference between the data that was submitted in the NODA
5 and the speed of test is important, because as speed of
6 test changes, efficiency changes.

7 And when you're using that FEI metric or the FEG
8 metric or any of them it changes that efficiency that's
9 reported out and published in data. So the analysis that's
10 being done is not necessarily being done at the same
11 efficiency point as what was put forth in the term sheet
12 and agreed to by all the participants in Washington. So
13 therefore, the data and the analysis don't agree with each
14 other with what the final test procedure is.

15 MR. GALDAMEZ: Thank you.

16 Go ahead, Mr. Starr. I can't hear you.

17 MR. STARR: Louis Starr. I think we've --

18 MR. GALDAMEZ: There you go.

19 MR. STARR: -- oh, can you hear me now?

20 MR. GALDAMEZ: Yes. Go ahead.

21 MR. STARR: So I think that would be a good
22 discussion to have. I think we should probably have a
23 little more robust discussion about it, so I think it's
24 just more of something we should talk about it a little bit
25 more.

1 The other thing I would say as a part of the
2 tiered approach and the single standard I think we'd want
3 to keep all the products together. If you're going to -- I
4 strongly suggest not doing tiered products -- but if you do
5 tiered products do both embedded and stand-alone fans
6 separately. Or don't do them separately, because I think
7 you'll end up with market distortions of fans going in
8 products that are embedded having different standards. And
9 you could have some things happen that you would not want
10 to. So I would suggest paralleling.

11 So if you're going to do tiered standards, do it
12 tiered standards for stand-alone and embedded fans
13 together. Or if you're not going to do tiered standards,
14 then do both stand-alone and embedded fans together just
15 without tiered standards for that. Thanks.

16 MR. GALDAMEZ: Thank you.

17 Anybody in the room? Go ahead Mike.

18 MR. WOLF: This is Mike Wolf again, so a couple
19 questions. The first one is my understanding with the
20 Department of Energy is that there would be some review of
21 these regulations every few years. And traditionally, or
22 historically, the metric would get ratcheted up. Is that
23 not the case with California? Once you set it you kind of
24 set it and forget it or do you review as a -- the typical
25 process is to review every few years and then potentially

1 increase or tighten the requirements as time goes by?
2 That's the first question, so I'll just wait for an answer.

3 MR. GALDAMEZ: Anybody? That's a good question.

4 MS. DRISKELL: This is Kristen Driskell from the
5 Appliances and Outreach and Education Office. I was
6 looking to the engineers to hopefully answer. We do not
7 have a statutory review of regulations after they're
8 adopted unlike DOE who has to adopt -- review its
9 regulations every six years. We do have the ability to
10 review any regulations that we think need to be updated.
11 And we can update those regulations every five years.

12 MR. GALDAMEZ: Thank you.

13 MR. WOLF: So this is Mike again. So my second
14 question, then, is do you guys -- can you share any
15 experiences you've had? And this kind of relates back to
16 Chad, some of the dialogue you and I have had, relative to
17 setting an efficiency level and then complementing that
18 with some sort of an incentive program through the
19 utilities or some other mechanism. Does anybody have any
20 experience with that in California they can share?

21 MS. ANDERSON: So this is Mary Anderson from
22 PG&E. Often, when there is a standard we work with our
23 programs to provide incentives until the standard becomes
24 effective. Once the standard becomes effective we work
25 with manufacturers to provide an incentive at the higher

1 efficiency, the above-code efficiency. And that level will
2 begin to go up over time as the market becomes saturated as
3 our regulators -- not the CEC, but the CPUC -- try to push
4 the market even further.

5 But we work with those manufacturers to try to
6 find what that should be and how it should be incentivized.

7 MR WOLF: So a couple questions, so first of all
8 I'm acronym-challenged, so can you share with me what those
9 other --

10 MS. ANDERSON: The CPUC is the California Public
11 Utilities Commission, and so they regulate the incentive
12 programs for California. The CEC regulates the standards.
13 So there's two separate agencies that we work with to
14 provide those, to work on these different projects.

15 MR. GALDAMEZ: Please.

16 MR. CATANIA: So again, this is Tom Catania,
17 AMCA. To follow on to your previous comment, is there sort
18 of an annual budget set through Commission proceedings as
19 to how many dollars are available for efficiency incentives
20 like that and what slice of the pie might be an area of
21 opportunity following the effective date of a commercial
22 and industrial fan rule as opposed to a refrigerator
23 standard, a clothes washer standard, or any of the many
24 other things that might be pursuing those dollars?

25 MS. ANDERSON: So this is Mary Anderson from

1 PG&E. So there is a public proceeding that determines the
2 energy efficiency incentive budgets. And it's broken out
3 usually between different customer types. But the actual
4 budgets are not necessarily determined based on upcoming
5 standards. It's kind of based on a couple of different
6 things. The portfolios have to be cost-effective and so
7 its measures that provide significant savings that are
8 pretty cost-effective usually get the highest priority.
9 And those discussions are determined through the IOU
10 engineers.

11 The CPUC, the sister agency, did the CEC's
12 technical support and the program and implementers. As far
13 as how the budgets are actually allocated, from most
14 commercial products it's on a "first come, first serve"
15 basis that we determine incentive level. And in many cases
16 the customers come when they have a project. It isn't that
17 we necessarily define and say, "Okay we're going to have
18 \$5," as an example for fans exclusively." We kind of have
19 to work with the market forces.

20 MR. GALDAMEZ: Okay. Mr. Ernst? And I hope I
21 pronounced that right. Go ahead.

22 MR. ERNST: Yes. Skip Ernst with Daikin Applied.
23 You can hear me?

24 MR. GALDAMEZ: Yes, go ahead.

25 MR. ERNST: Okay. Laura at AHRI already pointed

1 out that there were -- that AHRI commented to DOE that
2 there were many flaws or at least big, bold questions in
3 their analysis that should be corrected or at least
4 addressed before you would use their analysis.

5 But there is a bigger reason why California
6 cannot accurately use DOE data. And that is that
7 California already regulates fans in many, many products
8 through Title 24 and 90.1-related regulations. You have
9 minimum efficiency tables. You have maximum brake
10 horsepower per CFM. I mean, California has already saved
11 the energy that DOE was planning to save. You can't save
12 it twice.

13 And as you get into these, this component
14 regulation in a product that's already regulated by
15 California as far as their minimum efficiency tables are
16 concerned to focus on one component is wasteful; it's just
17 wasteful. It doesn't save energy, because manufacturers
18 inevitably, if they have to change a fan to become more
19 efficient, well then they will cost-reduce coils to keep
20 the unit overall efficiency where the market and where the
21 regulations require it.

22 You have a lot of manufacturer burden without
23 energy savings. And DOE did not consider these issues in
24 their analysis.

25 MR. GALDAMEZ: Thank you.

1 Who is this, go ahead, Mr. Louis.

2 MR. STARR: So one of the things I would tie to,
3 I guess, have somewhat of a little bit disagreement with
4 the last speaker, was that DOE did look at equipment that
5 is not regulated. In other words, things that had an
6 efficiency metric associated with it that wasn't included
7 in part of the analysis. So I mean, I guess it would be
8 good to overlay California's regulations and see how they
9 match up with DOE's. But I think specifically they dealt
10 with this issue that he brought up.

11 The other thing I would argue is that the
12 efficiency metrics that are defined around some of the
13 appliances, and I'll take IER, which is a roof-top unit.
14 It inherently is not really reflective of the fan energy in
15 there. And I think at the ASRAC rulemaking or at the
16 process we agreed not to do that, but to my mind deficiency
17 of the fan and that the energy-saving capability is not
18 reflected in the test metric and that's a lot of problems.
19 But, that being said I'm not necessarily proposing that we
20 proposing that we regulate equipment. But I would say
21 stuff that does not have a regulated metric with it the fan
22 efficiency should apply or we're going to have market
23 distortions associated with it.

24 MR. GALDAMEZ: Thank you.

25 And Ms. Petrillo?

1 MS. PETRILLO GROH: Hi. This is Laura Petrillo-
2 Groh from AHRI. My question is then if CEC decides to use
3 the daily public data for this rulemaking, what would be
4 used in future rulemaking? Because that standard, it would
5 practically impossible to compare apples to apples and look
6 and see what has been saved, since there is no raw data
7 behind the analysis that you can provide in the State of
8 California.

9 MR. GALDAMEZ: Well, my understanding is once
10 California implements a standard we'll basically have a
11 database in which data will be inputted by every person
12 that wants to sell that product here. And then that data
13 will be the one used to be further analyzed and see if
14 there's more savings or more savings could be applied to
15 it.

16 MS. PETRILLO GROH: All right. To bring up an
17 interesting point, how would CEC enforce or regulate these
18 products when we're talking about it within a metric,
19 there's a compliance bubble. It would be difficult to just
20 -- I mean, all their operating points in this in this CEC
21 database, it's not set up for more than model numbers and
22 manufacture information and basic efficiency information.

23 MR. GALDAMEZ: Yes. And that's what we are doing
24 by doing this process here, to basically get to that point
25 and see what data points is it that we are going to ask for

1 manufacturers to input into that database, if that makes
2 sense.

3 MS. PETRILLO GROH: So the incentive is to input
4 other data points?

5 MR. GALDAMEZ: Okay. So once the standard gets
6 done right, once we complete this process we'll know what
7 is to be enforced. And then we'll know as well what data
8 points is it that we're going to be asked to be inputted
9 into that database. Right now that's what we're asking
10 for, for that information of what will be put in, what will
11 work, what will not work, what do we need to enforce and
12 what we cannot? And that's why we're asking for your input
13 and to put basically your two cents into this process, so
14 that we can make the best analysis and move forward. So
15 right now I cannot give you an answer.

16 MS. PETRILLO GROH: That's great. Perhaps then I
17 mean for those that are not as intimately familiar with the
18 FEI metric maybe Mike Wolf or Michael Ivanovich can provide
19 what information would be useful in a static online
20 database or suggest some information?

21 MR. GALDAMEZ: Yes, yes. And that's exactly what
22 we're going to do yeah, as we move forward.

23 I see Mr. Starr raise his hand.

24 MR. STARR: So essentially what Laura is asking
25 for is what a certification database would look like. It's

1 what you would -- it's kind of old-school, but it would be
2 a fan fact sheet that shows all the operating points. And
3 so it's a typical item that you would do when you go to
4 select "fans." It probably couldn't be handled by one line
5 inside of a database although it could easily reference.
6 The one line could then have a PDF that would cover the
7 operating points, so it's not a technologically impossible
8 thing. And DOE was headed down this route, so I don't
9 really see that as -- as long you can refer to a data sheet
10 that's an 8 1/2 x 11 you'll cover all the data points. But
11 the fan would need to be certified and which FEI is it that
12 -- I'll leave it to Mike or one of the other people there
13 in the room, but this doesn't seem like a barrier to me.

14 MR. GALDAMEZ: Thank you.

15 Go ahead.

16 MR. WORTH: Hi. Chad Worth on behalf of the
17 IOUs. Yeah, Louis I echo those comments. We don't see the
18 database as being a barrier. Certainly it's different, I
19 think, then how a lot of other products have been with a
20 one row per one model number.

21 But, for example, just going back a little bit on
22 how a utility program might work if a given fan had 24
23 operating points that had a FEI of 1, if that was the
24 minimum standard that was required. You could then, if an
25 incentive was applied for, you could search the database --

1 the flow, the pressure, and say it has an FEI of 1.1, then
2 the incentive can be determined from there. So we see it
3 as a -- well, it's different providing a lot of opportunity
4 on that front.

5 I wanted to make another comment about Title 24.
6 And while there's definitely some overlap with what we're
7 trying to do here and some savings that have already been
8 counted, I did want to point out that Title 24 generally
9 doesn't cover industrial sector applications, of which many
10 of these fans are. It's mostly commercial buildings and
11 residential buildings, so there's still a large opportunity
12 out there.

13 Furthermore, not to keep singing the praises of
14 the FEI metric, but I think it's from what I've understood,
15 the intent to get FEI in through the ASHRAE process and
16 Title 24 to simplify some of these other fan power
17 limitations, brake horsepower per CFM, things that have
18 been out there for many years. And we're certainly
19 supportive of that and think there can be further savings.
20 When you do know the application FEIs can be tailored to a
21 given application.

22 MR. WOLF: This is Mike Wolf again. I'll just
23 take a stab at how I would envision this thing being
24 handled from a listing perspective. For those of us who
25 manufacture fans and certify them to the AMCA certified

1 ratings program we're not, I guess regulated by that
2 program on a single point, I think as Chad or others have
3 mentioned, Louis too.

4 We publish a range of performance in our
5 catalogues although catalogues are going away, so now it's
6 typically done via software. And every point in that
7 catalogue and every selection point that comes out of our
8 software needs to comply with the performance set that
9 we've certified through the AMCA certified ratings program.
10 It's certainly much more complex than just putting a point
11 on a spreadsheet. It certainly couldn't work that way.
12 But from my perspective it would just be an extension of
13 what we've been doing for years through the AMCA certified
14 ratings program.

15 Now, how the California Energy Commission would
16 be able to facilitate that, I can't answer that question,
17 but I can tell you how we've been doing it. And it's been
18 working, I believe.

19 MR. GALDAMEZ: Oh, yes.

20 MR. IVANOVICH: Michael Ivanovich from AMCA. I
21 can confirm is that FEI is certainly being looked at by
22 ASHRAE 90.1. I'm a member of the Mechanical Subcommittee,
23 leading an effort to draft the replacement language and
24 there's a sense of urgency to get that done. So it is
25 moving forward.

1 MR. WAGNER: To the gentleman from the California
2 Investor Owned, yes there's a lot of energy that is
3 accounted for in Title 24 that's similar to 90.1 and those
4 kind of things, but that wasn't accounted for in the DOE
5 analysis. So that's the difference between what California
6 has and should be looking at.

7 The second thing regarding the FEI, it can be an
8 infinite number of points rather than a finite number of 24
9 points, because it's a compliance bubble that's basically
10 an infinite number of selection points possible by
11 customers to use a fan. So it's a different management of
12 data than what is typical for what the Commission has done.
13 And that just needs to be part of the consideration.

14 MR. GALDAMEZ: Thank you.

15 With that, I would like to ask a question, if
16 participants would like to take a ten-minute break and come
17 back? Or continue to the next discussion point? By raise
18 of hands, I guess. Let's just take a ten-minute break
19 then. Just a bathroom break and all that, so we'll be back
20 in ten. So that'll be 2:26-7, around?

21 Okay, thank you.

22 (Off the record at 2:17 p.m.)

23 (On the record at 2:29 p.m.)

24 MR. GALDAMEZ: Hi, people. There online we're
25 about to start. Just waiting here, just for everybody to

1 take a seat and we'll go from there.

2 All right. I think I'm going to have Ryan just
3 clarify something that everybody has been questions, so
4 here's Ryan.

5 MR. NELSON: There was a question earlier about
6 confidential information. Everything said today or
7 submitted to the docket is on a public record. If you have
8 something you want submitted confidentially we have a
9 process within the Commission. We encourage you to contact
10 us directly to work through that process to determine if we
11 can accept it as confidential information. Confidential
12 information, if it is accepted and submitted, we can't post
13 that to the public record. So we would have to figure how
14 to integrate that data if that was the intent, aggregate it
15 in some way so that it would usable for the rulemaking
16 process.

17 Are there any questions regarding confidential
18 information for the docket or public information?

19 (No audible response.)

20 Great. Thank you.

21 MR. GALDAMEZ: Thank you.

22 Well, welcome back. I hope everybody is a little
23 refreshed. Sorry, I had to take a sip of water there.

24 Anyway, let's continue on to Product Lifetime.
25 Per comments received it was pointed out that the DOE did

1 an average, provided the information in regards to LCC
2 analysis done under the 3rd NODA. And the average
3 lifetimes are here, in this slide. As you can see, this is
4 for stand-alone fans for axials. I'm going to just take
5 one of them, it's about 29 years. Centrifugal-housed is
6 27. I mean this data is available online through the DOE
7 or there's also it is part of our comments, so it's also in
8 our docket as far as the information goes.

9 For Product Lifetime Discussion, I would like to
10 ask everybody here can California use the 3rd NODA's LCC
11 for the fans sold in California? Yes or no or why or why
12 not? Is there other data that negates or further supports
13 the conclusion of the product lifetime? If So please, if
14 you guys can provide that, that'll be great.

15 And I'm going to open this for five minutes.

16 MS. MAUER: This is Joanna with ASAP. So we do
17 believe that the lifetimes in DOE's third NODA provide a
18 good basis for LCC to use in its analysis. As we noted in
19 our comments that was based on a variety of sources and
20 also incorporated input from the ASRAC Working Group.

21 MR. GALDAMEZ: Thank you.

22 MR. WORTH: Chad Worth of the Cal IOUs. Similar
23 comment, we think the LCC and the lifetimes can be used.
24 And I guess just with regards to the LCC if it's cost-
25 effective nationally it'll certainly be cost-effective in

1 California due to electricity prices.

2 MR. GALDAMEZ: Thank you.

3 Yes, go ahead. Yeah, please go ahead, Greg.

4 MR. WAGNER: Right. This is Greg. With regard
5 to the NODAs, LCC, there are flaws as we've mentioned
6 previously in the evaluation of that data, so those need to
7 be corrected before use.

8 MR. GALDAMEZ: Thank you.

9 Anybody else in the room? Maybe we should go
10 online. Mr. Starr?

11 MR. WAGNER: Yes. But I just wanted to kind of
12 echo Chad's comments. And I think the thing is that the
13 California energy rates are much higher as opposed to
14 national ones. To some extent, if you -- the ability or
15 the ease of it to maybe reflect some of the higher energy
16 costs would I think influence possibly higher standard
17 levels and certainly it'd affect life cycle costs. The
18 only thing is if you had the ability in an effective way,
19 and you can do that analysis easy, I would encourage you to
20 do so.

21 But if not, you can I would think, use the DOE's
22 analysis and it'd be a conservative way to do it. But I
23 think there's more opportunity if you could include
24 California's energy costs. Thanks.

25 MR. GALDAMEZ: Thank you.

1 Okay. With anybody else, we have a couple
2 minutes. No? Okay. So let's continue on.

3 Product Development Trends, we didn't get any
4 information in regards to Product Development Trends.
5 California would like to understand the trends for the
6 proposed fans. What research and development is necessary,
7 if any, to comply with the proposed standards?

8 With that I'll open up for discussion.

9 (No audible response.)

10 Anybody online? No? No, okay.

11 (No audible response.)

12 So Energy Consuming Features, on this we didn't
13 get any information either in regards to fans and blowers.
14 So I would like to ask what is the major contributor or the
15 different contributors to inefficient energy consumption in
16 fans and blowers? And if there is data that supports this
17 question, right?

18 So we'll go ahead for five minutes then.

19 MR. WOLF: Mike Wolf with Greenheck, I guess my
20 initial response -- although I don't have a reaction to
21 this, I don't have any data to support this, but it's one
22 of the drivers behind the development of the FEI metric in
23 trying to link the metric to the application. And I made
24 these statements in my initial comments that are on the
25 record that with this particular product, it's pretty

1 crucial that we not only incent and find a way to get
2 manufacturers to build more efficient products, but as
3 important, and I would argue maybe even more important, is
4 to get those products applied right. Because in terms of
5 major contributors that contribute to inefficient energy
6 consumption from my experience it's largely around poor
7 selections or poor installations.

8 And that's why it's very important that we tie
9 whatever we do here very closely and somewhat harmonize it
10 with whatever is in Title 24, because I think that's where
11 the rubber will really meet the road is making sure that we
12 connect the dots between the product and the application of
13 that product.

14 MR. IVANOVICH: This is Michael Ivanovich from
15 AMCA. And we've communicated this in many technical paper
16 publications and in peer review papers that generally when
17 fans are selected you're using electronic selection
18 software programs and a spectrum of fan sizes are generally
19 presented to meet the duty point that they're going after.
20 And in those cases, the fan efficiency varies considerably
21 with the size. And the smaller fans were generally
22 selected, which use more energy, because they have a lower
23 first cost. And the FEI metric does nudge selection
24 behavior towards the more efficient fan selections.

25 Additionally, again we're on record for this, in

1 many cases that a lot of fan consumption is wasted in the
2 application phase where there is improper inlet and outlet
3 conditions known as fan system effect.

4 And then another type of system effect is when
5 the fan is selected for a given application and the
6 selection does not match the test configuration. So it's
7 heading for a configuration A, but they're using a fan
8 selected under test conditions for a configuration B or
9 some other configuration.

10 So those are just some areas to look at. And of
11 course, the only one that the Title 20's regulation could
12 address is improper selections using FEI.

13 Thank you.

14 MR. GALDAMEZ: I'm going to go online.

15 Mr. Starr?

16 MR. STARR: Yeah, so I think Mike hit on a couple
17 of the items. I guess one of the things is the application
18 of the fan, so the outlet conditions. So sometimes these
19 site conditions aren't -- it's not such that you can
20 install the fan in the best configuration and so as the end
21 result they have air coming back on itself. And in 90.1
22 and I'm sure actually it's in the ASHRAE handbooks, but
23 it's also one of the AMFA standards -- and I can't remember
24 if it's 204 or 203 or whichever one it is -- but it has
25 basically the recommended configurations for how you have

1 the fan outlet conditions. And it also quantifies what the
2 fan system effect is of that, so you can quantify in that
3 sense. And so obviously, that drives it. Things like
4 putting elbows and things less than three diameters outside
5 of the fan.

6 And so in some ways -- Mike Wolf alluded to this
7 -- is that Title 24, there's some prescriptive requirements
8 that you can maybe add to the Code that would be helpful in
9 reducing this fan energy in addition to maybe selecting
10 more efficient fans.

11 Another thing that kind of drives more energy use
12 in fans is a split incentive. And this is perhaps the
13 contractor that's selecting a fan that's really too small
14 and really speeding it up very fast and it causes the fan
15 to be inefficient; an inefficient fan. And so he doesn't -
16 - the person that buys the fan doesn't live in the building
17 and pay the energy bills. And that's why the FEI metric is
18 somewhat novel in that it basically drives someone to
19 picking an efficient fan.

20 And it gets some energy savings that really
21 don't, in some ways, don't force much redesign of the
22 product, but just making sure that the person that's
23 selecting the products selects the correct product. And so
24 this ties in a little bit of the compliance data as well.
25 It's like well normally when you have a product that you

1 want to regulate in California you give them a time window
2 of when you might allow that to become, "This is the
3 regulation." The thought process is that there has to be a
4 lot of development.

5 Many times these fans that are being requested
6 are just the ones that are basically about make the more
7 efficient selection of the fan by the consumer or the
8 selector of this fan. And so it's not really the typical
9 scenario that you have with most products that roll out on
10 the market that you're forcing a higher efficiency. In
11 this case you're basically making people buy a larger fan.
12 And it's, at the same time, saving them energy.

13 MR. GALDAMEZ: Thank you.

14 MR. STARR: So that's what I had to say. Thanks.

15 MR. GALDAMEZ: Thank you.

16 Anybody else on the line?

17 (No audible response.)

18 No? Okay, with that I'm going to move to the
19 next topic, which is Energy Savings Features and
20 Technology. In regards to the Features for Energy Savings,
21 we didn't receive any comments or none were provided.
22 However, based on the National Impact Analysis provided,
23 it's mentioned that there's a national savings of 2.17
24 quadrillion Btus and a maximum of 19.13 quadrillion Btus.
25 That's from Efficiency Levels 1 to 6 respectively. At EL

1 3, or Efficiency Level 3, the savings would be of 4
2 quadrillion Btus.

3 So we would like to ask you some questions to
4 discuss here. Should California adopt a 12 percent share
5 of electricity savings from a national energy savings
6 discussed in the NIA? Should California adopt a higher
7 efficiency level than EL 3 and achieve a higher energy
8 savings? Should California implement a tiered (again
9 standard to provide a stepped increase in energy savings
10 for California consumers?

11 Please, go ahead.

12 MR. CATANIA: Tom Catania, AMCA. This is more in
13 the nature of a question. Increasingly, given the CARB
14 regulations and so forth, the source of generation, is this
15 relevant to California as the amount I guess to consume?
16 So how is California thinking about energy savings in the
17 context of an effort to substantially change the nature of
18 the generation?

19 MR. GALDAMEZ: Well, I'm going to ask for some
20 help here. Sorry.

21 MS. DRISKELL: This is Kristen Driskell. And I'm
22 not going to be very helpful. That's a really good
23 question. We do analyze the greenhouse gas savings
24 benefits from efficiency standards, but the focus of the
25 Energy Commission is solely on energy savings and not

1 necessarily when those savings occur, which would be
2 relevant to where the greenhouse gases are happening. But
3 it is something we consider as part of our analysis.

4 MR. GALDAMEZ: Thank you.

5 Okay, with that, I guess Mr. Starr?

6 MR. STARR: Yeah. So on your first point there
7 as far as the 12 percent of shared electricity savings this
8 is a non-regulated product. So it hasn't been regulated in
9 California or anywhere. I mean, I know that it's
10 technically in - there's a previous version in the IECC,
11 but it probably didn't have a lot of effect.

12 My general thought is that we do this a lot in
13 our utilities and figuring out savings with it. But my
14 guess is actually California would have a higher than 12
15 percent share of electricity. And that's because I would
16 think there's more industry than most other states on a
17 per-capita basis. I think your 12 percent's probably just
18 really coming on population. But I think you're going to
19 find that you have more industry and therefore, more
20 opportunity for savings. There's multiple different ways,
21 but I think normally we have a contractor that would kind
22 of go through and come up with a way to do it. But I think
23 you're going to be higher than 12 percent, is my guess.

24 The other thing is I would say the last NODA 3
25 had some recommendations for an EL level in DOE's analysis,

1 I think, at least at that level. And I think really if you
2 did some of the numbers you would find actually it'd be a
3 higher level, but I'd say at least as high as what's in the
4 DOE. I know it would be a good ideal, that 3rd NODA.

5 And then on the last item, the tiered standard, I
6 kind of mentioned that before that I'd think it'd be a good
7 idea not to do a tiered standard at this point. It would
8 be once you get the regulations out there, see how it's
9 working. If it's not working, that way you're not tied in
10 to something.

11 This is something that we're able to really --
12 the utilities in California really get programs around,
13 which force you -- potentially have the ability that you
14 won't be able to use programs, especially if you're tied
15 into a regulated second tier that's not really high enough.
16 And then all of the sudden you sort of lose one of the
17 great tools you have and that's the utility programs that
18 encourage higher level savings.

19 So my suggestion is to set a level out, and at
20 the next three-year level or whenever you do your next
21 rulemaking on it, look for setting what the level is there.
22 And by that time you'll have a lot of data and you'll be
23 able to make a much better decision about kind of the
24 trajectory of what you're trying to achieve.

25 MR. GALDAMEZ: Thank you.

1 Mr. Ernst?

2 MR. ERNST: Regarding the 12 percent, I don't
3 know if I have a comment specifically on that as far as the
4 electrical savings, but as far as the manufacturer
5 investment to redesign equipment to comply you'd have to
6 use 100 percent of what DOE used. And DOE vastly
7 understated what would happen in the consequential
8 redesigned costs for embedded fans as AHRI commented to
9 them.

10 The other thing is there is lots of talk about
11 the savings and looking at the DOE data as if its gospel.
12 But I mean, there is many -- again AHRI pointed out some
13 areas that at least beg questions. Where if you look at,
14 for instance, the un-housed centrifugal life cycle analysis
15 and they show the annual energy savings between the EL
16 levels might be \$15 or \$20. But again they show it as a
17 positive return on investment, because they say there is no
18 cost difference between these. And then they say they
19 looked at manufacturer redesign costs and factored that in,
20 but it's just none of these.

21 I mean, in some of these areas you're looking at
22 very small differences in efficiency between the EL levels
23 and they show a savings. I mean, just test tolerances
24 would explain some of the differences in their EL levels.

25 So again the whole study needs a lot of scrutiny,

1 which it has not received as of to date.

2 MR. GALDAMEZ: Thank you. Go ahead, yes.

3 MR. WAGNER: Greg Wagner, Morrison. The first
4 question about should California assume that 12 percent
5 share? The DOE's NIA did not account for the effect of
6 Title 24 or ASHRAE 90.1 energy savings that exist today.

7 Secondly, the same comments regarding the second
8 bullet about the Efficiency Level, EL 3, the data analysis
9 from DOE has a number of errors, including starting with
10 the data that went into it was not per the test standard
11 that was proposed.

12 MR. GALDAMEZ: Thank you.

13 Does anybody else have a comment online? No?
14 Not in the room?

15 Okay, come on. And with that we will move to the
16 next bullet point, the Test Procedure Under Development.
17 According to the comments there's agreement that AMCA 210
18 as the test procedure developed to certify fans and
19 blowers. So the question comes up, should California
20 continue from the agreed 3rd NODA and conclusion agreed
21 upon under the ASRAC term sheet or why and why not?
22 Basically should we (indiscernible) on or just take this as
23 the test procedure?

24 Go ahead.

25 MR. IVANOVICH: This is Michael Ivanovich from

1 AMCA, and of course we support 210 as the test procedure.
2 Check. The other thing is on the NODA I'd like to just
3 repeat myself that we'd like to have it adopted by
4 reference our comments to the third NODA. And then also
5 earlier a comment to the docket as a correction to a
6 comment to the ASRAC term sheet about test speed.

7 MR. GALDAMEZ: Thank you.

8 MR. IVANOVICH: And I'll provide those in writing
9 as well.

10 MR. GALDAMEZ: Thank you. Anybody online?

11 Oh, Joanna. Go ahead.

12 MS. MAUER: This is Joanna. We also support
13 using AMCA 210 as the -- such as a bare shaft fan test
14 procedure. The term sheet included specifications for how
15 you would take the data from AMCA 210 and come up with a
16 wire-to-air rating.

17 Since the conclusion of the Working Group, AMCA
18 has published AMCA 207, which is very similar but does
19 contain some differences compared to what was in the term
20 sheet. Our understanding is that those differences are
21 relatively minor. And as we've indicated in our comments,
22 we're open to using AMCA 207 rather than the default values
23 for motor drive efficiency that are in the term sheet.

24 MR. GALDAMEZ: Thank you.

25 I think Skip is first.

1 MR. WOLF: Mike Wolf, who's --

2 MR. GALDAMEZ: Oh, go ahead. Go ahead.

3 MR. WOLF: -- one other thing just to add on to
4 Joanna's comment there, there is an additional document.
5 Just to make it a little more confusing, AMCA 208 is
6 another companion document to 210 and 207, to get us to the
7 FEP and FEI calculations.

8 MR. GALDAMEZ: Thank you.

9 Mr. Ernst, I think you had your hand up?

10 (No audible response.)

11 Oh, okay. So I guess that's no longer there.

12 How about Louis? Mr. Starr?

13 MR. STARR: Yes. Can you hear me?

14 MR. GALDAMEZ: Yes. Go ahead.

15 MR. STARR: So yeah, I would support using 210 as
16 the test procedure. And also 207 with modifications there,
17 the modifications from the term sheet to match 207 and as
18 Mike also identified, 208 as well.

19 Currently, I think it's going be out for a vote
20 soon, it should be coming out. And me in particular, and
21 other advocates have been working on the committee for
22 that. So we, in thinking we were trying to keep -- in my
23 mind, I guess I should say what I was trying to do is
24 keeping it closer to what DOE would need to do for
25 rulemaking and also what someone like California would need

1 to do. So we've done our best to try to keep that in mind,
2 so that would be useful with the rulemaking at CEC.

3 The other thing that will probably still need to
4 be done is there's some things in AMCA 211 that would help
5 out with the certification and some other things that would
6 probably give you some pretty good direction. And I think
7 most of these documents are pretty good documents that you
8 could probably use all over. And if not, you can modify
9 them slightly.

10 The other thing that would be helpful in using
11 these documents is that we can use the standards for
12 setting up programs that would helpful. And in terms of
13 market transformation it would not just be the California
14 market, but the other markets as well. And so to the
15 extent that those are harmonized it's helpful in creating
16 more the opportunity to have higher standards. And also
17 leverage additional savings through programs.

18 So I would certainly encourage you review the
19 AMCA standards and use as much as possible. If not, then
20 in the whole. Thanks.

21 MR. GALDAMEZ: Thank you.

22 Please, Greg.

23 MR. WAGNER: This is Greg again. I agree with
24 the use of the AMCA 210 test procedure and associated other
25 documents. The key will be redoing the analysis with those

1 new test procedures to make sure that the data that the
2 Commission is using is consistent with what those test
3 procedures are and not just accepting what's put forth in
4 the NODA.

5 MR. GALDAMEZ: Thank you. All right, any more
6 comments on the line? No?

7 Okay. So next we'll discuss Control Features.
8 There were no comments regarding Control Features for Fans
9 and Blowers. Applicable questions to think about would be
10 should fans controls be implemented into the standard, why
11 and why not? And are all control features energy saving
12 ones? Is there data there to support such, the energy
13 savings?

14 So I'll open up for five minutes, let's see
15 online?

16 MR. WOLF: This is Mike Wolf with Greenheck.

17 MR. GALDAMEZ: Oh, go ahead.

18 MR. WOLF: I guess the one thing to just maybe
19 comment here, I haven't seen it in any of the comments that
20 have been submitted, but the DOE regulation, when we
21 factored in the FEI's wire-to-air metric was intended to
22 account for speed controls on fans. And the one thing we
23 were working to accomplish there is to not create a
24 disincentive to use a speed control on a fan, because I
25 think everybody who understands fans and fan technology

1 understands the best way to save energy with a fan is to
2 slow it down because of the fan law.

3 So the intent is, or was and I think still is, to
4 encourage the use of speed controls on fans. The challenge
5 there is again we can supply fans with speed controls all
6 day long, but if they're not used in the field in the end
7 application they don't save any energy. So again, we've
8 got to tie the appliance regulation to the end use of that
9 fan to really gain the benefits of any speed controls used
10 with fans.

11 But the metric that we are working on, the AMCA
12 standards that we're developing, will take into account
13 speed controls on the fan.

14 MR. GALDAMEZ: Thank you.

15 Anybody online? Louis, go ahead.

16 MR. STARR: Yeah, again I look at this line. My
17 tendency, when I see the word speed control, I think
18 everybody's current perception is variable speed drives.
19 But in general with fans for the most part they come with
20 belts. So they're different pumps, which are usually just
21 direct drive and where fans have (indiscernible) speed with
22 belts, so it's less of an opportunity.

23 That being said, there's other components in the
24 drive system, the drive system being the motor linkage and
25 some other things. And Tim Matheson or Sarah Whittier

1 would actually be a good source to talk a little better
2 about this concept.

3 There is, in some ways in AMCA 208, there is
4 different options for how you rate the FEI. And it's based
5 upon the configuration of which things are sold or how
6 they're sold. And you could potentially use a more
7 efficient motor or you can use something, use a default
8 motor and there's other things in there and around ECM
9 motors, as well. So there's some things inside that
10 indirectly kind of touch upon these control features. And
11 perhaps if someone on the phone can maybe speak to us a
12 little more directly, it might be better. But thanks.

13 MR. GALDAMEZ: Thank you. Anybody else on the
14 line? No? No more? Okay.

15 So this brings me to Market Characteristics and
16 Competition. We, other than reference to the NIA there
17 were no other information received in regards to Market
18 Characteristics and Competition. So here's a couple of
19 questions. Should California use the shipments and
20 shipment projections under DOE's NIA? What calculation
21 should California perform to DOE's NIA for the shipments
22 and shipment projections to be representative of
23 California?

24 So I'm going to open up for five minutes if
25 anybody has comments.

1 MR. IVANOVICH: This is Michael Ivanovich from
2 AMCA again. We are seeking to create a new fan shipment
3 database that's going to have more parameters than we've
4 asked for in the previous ones, which we think would
5 provide California with a more accurate assessment
6 database. This also includes, by the way, we are asking
7 for shipment zip codes, so we would have a much more
8 geocentric database.

9 MR. GALDAMEZ: Thank you.

10 Anybody online? Skip, go ahead.

11 MR. ERNST: As I've mentioned there's several
12 questions about DOE's numbers. This is where there a
13 couple of good examples. Under their LCC tab for embedded
14 panel fans, power bin of 1 to 1.8 horse power, they show 0
15 percent. I mean that is so far off -- that is where most
16 condenser fans fall. So I mean, I don't know if people
17 have correct data, but it's probably more like 100,000 or
18 more. But they show 0 percent.

19 Under there they tried to put in some information
20 about embedded fans and in their Shipments 2012 tab they
21 claim there's 330,000 in-scope air handlers. And I have no
22 idea where they got that (sounds like) footed, but again,
23 the actual data is probably more like half of that. I
24 mean, their flaws are not small. In many cases, they are
25 more like an order of magnitude.

1 MR. GALDAMEZ: Thank you.

2 Mr. Starr?

3 MR. STARR: Yeah. One of the things that might
4 be my suggestion is take the shipment data that you have
5 from DOE. And I think some of the manufacturers, some of
6 the bigger manufacturers you could probably get through an
7 NDA if you get what the shipments are to California. And
8 what you can do is use that to look for -- if you have a
9 few of them you can sort of tech analysis by Sanaee to
10 determine what the calibration is between those sales
11 numbers and what is the actual sales number that some of
12 the manufacturers may know. But the appropriate size is
13 the number of samples, I think you can kind of get an idea
14 of is that a good assumption or not. So that might be my
15 suggestion.

16 MR. GALDAMEZ: Thank you.

17 Anybody else online, how about here in the room?
18 No? Okay.

19 Then the subject will be Installed Base
20 Characteristics. We didn't receive any information in
21 regards to Installed Base Characteristics. So what
22 calculation should California perform to the DOE's NIA in
23 order to represent the installed base or the stock
24 currently in California?

25 And I'm going to open up for five minutes.

1 (No audible response.)

2 Okay, how about somebody online? Okay, Mr.
3 Starr. Go ahead.

4 MR. STARR: Yeah, I've seen that, and maybe
5 Joanna can pipe in here, but I think that this came from
6 the CBECC's data is probably what was used to determine
7 what the installed base was. I think that that information
8 is probably about as good as you're going to get.
9 Otherwise, someone will have to go down and specifically do
10 a fan census or a sample. So there are other databases,
11 but they're not really -- for the northwest, we have a
12 commercial stock building assessment. And we could
13 probably, with that, we could give you potentially some
14 information, which makes some assumptions about -- we
15 haven't necessarily specifically look at fans, but we know
16 the items in the stock assessment that have fans.

17 But again, what I would do is try to use some
18 version of that. And I'm not sure what they have in
19 California, but if they have some sort of stock assessment
20 that could also be used as a calibration against DOE's
21 assumption. See if they're correct or in the ballpark.

22 MR. GALDAMEZ: Thank you.

23 Go ahead, yeah.

24 MS. ANDERSON: This is Mary Anderson, PG&E.
25 California did a Commercial Saturation Study, or the CSS.

1 And it was completed, I think, two-ish years ago -- time
2 flies -- maybe three. And that has some data. It is not
3 exhaustive. It's not as extensive as NIA's data collection
4 effort. But that can be used as some indication of
5 installed base characteristics.

6 MR. GALDAMEZ: Thank you.

7 Anybody online? No? Okay. Well, with that --

8 MR. STARR: So this is Louis --

9 MR. GALDAMEZ: Oh yeah, go ahead.

10 MR. STARR: -- let me ask, Alex. I don't know
11 what the timeframe is, but Lawrence Berkeley National Lab
12 is working with the DOE Advanced Manufacturing Office on a
13 motor system market assessment. And I believe that's going
14 to be drilling down into the application, so I don't know
15 what state that is right now, but they may have some data
16 available at some point.

17 MR. GALDAMEZ: Okay, thank you.

18 All right, anyone else on line? No? Okay.

19 Well, with that I would like to open it up now
20 for general comments. Are there any comments on other
21 topics, on any other topics stakeholders, you guys, would
22 wish to discuss? And this one can go a little longer, so
23 it's not five minutes by the way.

24 Yeah, please.

25 MS. ANDERSON: So the IOUs have been

1 collaborating on the C and I Fans And Blower Standard, with
2 the efficiency advocates and fan manufacturers since 2012.
3 We participated in DOE's rulemaking as well as numerous
4 informal meetings with Air Movement and Control
5 Association, AMCA, to discuss metrics, test procedure and
6 various other issues.

7 In 2015, the IOUs also participated in the ASRAC
8 Working Group and continue to support the ASRAC term sheet,
9 which outlines an innovative market-based approach to
10 enabling more efficient fan selections. Commercial and
11 industrial fans and blowers have been an unregulated
12 equipment. And based on our experience in the DOE process
13 we know that there are significant savings opportunity for
14 this equipment class.

15 Furthermore, the fan energy index will enable
16 engineers and designers to more easily select more
17 efficient fans.

18 Lastly, we believe there are significant
19 opportunities for utilities and building codes to build
20 upon this rulemaking to enable greater efficiency gains
21 beyond the minimum efficiency requirements. And we support
22 the CEC undertaking this rulemaking and look forward to
23 future participation.

24 MR. GALDAMEZ: Thank you.

25 Anybody else in the room?

1 (No audible response.)

2 Okay, how about Mr. Kleiss online? I can't hear
3 you. If you have it on "mute," maybe take a look at that.
4 Okay. Well, I'll give you some time, Mr. Kleiss. There
5 may be some technical difficulties there.

6 How about Mr. Starr?

7 MR. STARR: Yeah, I would agree. I'd like to say
8 this is -- it's something I think the AMCA and the energy
9 efficiency advocates have worked on a long time. And I
10 think it's an opportunity in many ways, this is a very
11 unique fan regulation. It's a cross between codes and
12 standards in that it actually gets at the application.
13 It's very unique and it's a very clever idea that AMCA came
14 up with. And I know they, as an organization, spent a lot
15 of time and energy. And manufacturers individually have
16 spent a lot of effort and I think they see value in this in
17 helping energy efficiency.

18 But also I think it will result in them selling
19 more efficient fans that happen to be bigger, so I think
20 it's a rare chance in the standards world that it's really
21 a win-win for both the manufacturers and the consumers of
22 the product. And I would certainly encourage you to pursue
23 this thing. And unfortunately, DOE was not able to finish
24 this, but I think it's a locked opportunity and it's a
25 golden opportunity for one thing to get into the industrial

1 market through standards, which you really can't get into
2 by codes. And so there's certainly things that you can do
3 a little bit in the industrial market that are in my view
4 are maybe not as high a standard for industrial fans or
5 something. We'd have to think about that more, but I just
6 think it's a really golden opportunity to save energy in
7 the State of California. And I encourage you to continue
8 on the rulemaking. Thanks.

9 MR. GALDAMEZ: Thank you.

10 I don't know if Mr. Kleiss has figured out --
11 No?

12 (No audible response.)

13 Okay. Mr. Kleiss, if you would like, you can
14 also submit your comments straight to the docket and we'll
15 take a look at it.

16 Laura, I think, raised your hand; is that
17 correct?

18 MS. PETRILLO-GROH: Yes, hi. Especially in the
19 context of embedded fans I think that this regulation
20 provides a lot of difficulties, especially while DOE is in
21 the middle of their rulemaking. There's been no
22 announcement that DOE has suspended the process. This is a
23 very complex rulemaking that really requires a lot of
24 separate -- complete analysis and review the analysis
25 that's already been done to make sure that this turns into

1 a viable regulation. here were many ASRAC meetings and yet
2 no one -- could not finish a term sheet that didn't have
3 significant holes and deficiencies, because of the
4 complexity of the standard.

5 And while I think that this is a value for a
6 stand-alone fan and that it could be done, it's inherently
7 difficult to look at the performance of a stand-alone fan
8 and compare it to an embedded fan. And that it'd be very
9 confusing for consumers to have a separate California
10 regulation only to be pre-empted by a federal regulation
11 after that comes into force. And not to mention the
12 incredible expense it will impart on the manufacturing
13 community.

14 And I really -- I just urge CEC to like include
15 embedded fans from the scope of this regulation. Thank
16 you.

17 MR. GALDAMEZ: Thank you. Please.

18 MR. CATANIA: Tom Catania with AMCA. I just want
19 to follow up with Laura on that question. Has AHRI taken a
20 public position, urging DOE to complete its existing fan
21 regulation?

22 MS. PETRILLO-GROH: We have taken no position at
23 all. We're waiting for the DOE to continue with the
24 process.

25 MR. CATANIA: Oh, okay. I was just trying to

1 understand you. You seemed to be urging California to
2 wait, because DOE is proceeding with the regulation. So I
3 just wanted to understand if you'd actually asked them to
4 proceed.

5 MR. GALDAMEZ: Thank you.

6 MS. PETRILLO-GROH: Well, we haven't asked them
7 to stop.

8 MR. GALDAMEZ: Thank you. Good, good.

9 Okay, anybody else here? Or -- yeah, go ahead.

10 MS. MAUER: This is Joanna. We think there's a
11 lot of work that's been done: that the CEC can leverage the
12 work that DOE has done; the analysis that they've done for
13 their rulemaking; the ASRAC term sheet, which included
14 consensus on a number of important items related to scope,
15 test procedures, efficiency metrics.

16 And it's now been almost two years since the
17 conclusion of the ASRAC Working Group. And DOE has yet to
18 publish a proposed rule for either test procedures or
19 standards. And the status of the DOE rulemaking, of
20 course, is uncertain. So we think that it makes sense for
21 CEC to pick up where DOE left off and to advance fan
22 efficiency standards in California.

23 MR. GALDAMEZ: Thank you.

24 Any other topics, top of the hand? All right.
25 The weather maybe. No? Okay. Just kidding, just kidding.

1 Okay. With that well let me just explain what
2 the next steps to follow will be. After these workshops,
3 of course there's two more tomorrow. But as far as fans
4 and blowers we'll be giving -- providing a template and
5 guidance for you guys to submit your proposals for the
6 standard, okay?

7 Commission staff, I'll be available to discuss
8 questions or concerns that you might have during this
9 process or in this next step.

10 We're basically, right now, at the Vetting
11 Information and Public Workshop, which is right here. So
12 the next step basically is going to be inviting you guys --
13 I think the invitation went out what a day or two ago
14 right, to submit proposals. And once we gather information
15 from that we'll meet again and have a further discussion on
16 those proposals and iron things out as they go, okay?

17 So please, any comments or any other information
18 that you would like to submit, just email it to the docket,
19 our docket at energy.ca.gov. The docket number is 17-AAER-
20 06. And if you have any questions here is my email and my
21 phone number. Please feel free to contact me in any way
22 that -- I mean not in any time, but I'll respond as soon as
23 I can. I have a life out of here too.

24 So with that, I conclude my presentation. And
25 if -- oh go ahead, Mike.

1 MR. WOLF: Alex, this is Mike Wolf with
2 Greenheck. Can you just maybe help clarify the
3 expectations on these proposals? I'm still going to
4 pretend to be somewhat a neophyte when it comes to this
5 regulatory stuff, even though I've been listening in on it
6 now for about three or four -- well, three years plus.

7 You know, with the DOE process we have the ASRAC
8 Working Group who developed a term sheet recommendation.
9 And then they go back into their world and we don't know
10 exactly what they're doing right now, but somewhere we
11 think there's probably a test procedure that they've
12 developed. And they may have a rule developed, as well.
13 And the next step would have been to issue a NOPR that then
14 the industry could comment on.

15 I sense that with the California process you're
16 looking for us or for the industry or the participants here
17 to give a proposal on what you want that test to -- or the
18 procedure and regulation to be pretty specifically or not?
19 I guess help me understand exactly what the expectations
20 are with regard to the proposals. Both in terms of the
21 standard, but also I guess in terms of some of the data
22 collection and analysis that I think needs to be done.

23 MR. GALDAMEZ: So since I'm working here with
24 Ryan, I'm going to have Ryan my Senior Engineer, answer.

25 MR. NELSON: This is Ryan Nelson with the

1 California Energy Commission. So the invitation to submit
2 proposals was posted yesterday. The deadline is September
3 1st 5:00 p.m. So hopefully everybody received that
4 information.

5 On August 1st we'll be giving a webinar to go
6 through the template, which was also posted yesterday, the
7 proposal template going through the format and what
8 information is important to us in our rulemaking process.
9 And that will cover, basically all the -- one of the
10 beginning slides, where it listed all the information we
11 requested in the ITP: market analysis, test procedures,
12 definitions, scope. Those are the items that are collected
13 in that proposal when you're proposing a standard supported
14 by all the data that well hopefully we're getting through
15 the ITP process here.

16 Does that help clear it up, Mike?

17 MR. WOLF: Yeah, I think it does. And again,
18 where my mind keeps going back to is where AMCA is in their
19 process in terms of the standards development. We're just
20 about complete with the 208, which is kind of the last
21 critical piece of getting everything defined, so the market
22 can look at it and review it and comment on it. But I
23 don't we'll have that done by September 1st.

24 So I mean, how critical is that, I guess if
25 assuming that that is the metric we end up going forward

1 with, it being the FEI.

2 MR. GALDAMEZ: This is just the first step, so I
3 mean I would say don't stress about it too much, because
4 after that there's -- we're going to develop a staff
5 report. And from there, if information is missing or you
6 find out that more data is available then you can also --
7 we go through the same process and iron that out as we go,
8 right? So then once we get all the data and everything
9 we'll get a final staff report in order to move forward
10 into what then will be the regulation or the standard, so
11 there are other opportunities. This is just the first step
12 to start ironing things out and getting more data and more,
13 "Well I support it. I didn't. I don't," based on what is
14 the basis and all that. And that's how it goes about
15 working out.

16 Mr. Starr, I think you have a comment?

17 MR. STARR: Yeah. Well, I guess just a series or
18 well, two questions. So one, it sounds like the proposal,
19 is it a proposal for standard level or a proposal for test
20 procedure? Is that what you're looking for in -- pardon my
21 terminology -- is that what a case study is? Or is it
22 something else? And then I have a follow-up question to
23 that.

24 MR. GALDAMEZ: Ryan?

25 MR. NELSON: Yes. This is Ryan Nelson again. So

1 you mentioned a case study. That is an example of a
2 proposal. And there would be a proposed standard. To have
3 a standard we would have to have a test procedure, we'd
4 have market analysis, install base characteristics. All of
5 those things are required to support our cost-effectiveness
6 and technical --

7 MR. GALDAMEZ: -- feasibility.

8 MR. NELSON: -- feasibility.

9 So a case report is a good example for proposal.
10 We'll collect all those proposals. We'll evaluate them,
11 and from there we'll move forward on our process. We will
12 collect -- well, after we evaluate them we will develop a
13 staff report as the Commission. And we recently posted a
14 couple of staff reports on that previous rulemaking just
15 last week.

16 However, so the staff reports we will put a
17 proposal forward. And then we'll continue the process of
18 publicly vetting those for staff reports, so that's later
19 down the line.

20 MR. STARR: Oh, I see. I see. So it sounds like
21 there could be several proposals come in. And those case
22 studies, I actually haven't seen one, but I can imagine
23 they're somewhat complex, but probably doable. And so it
24 looks like you'll look at maybe several of those and you'll
25 basically make some recommendations based upon reviewing

1 several of those.

2 A second question I have is, is it an obvious
3 thing -- and I think this is obvious to maybe AMCA as well
4 -- is that LBNL developed a law that's (indiscernible) some
5 of the questions we're asking on this call are sort of
6 related to the DOE rulemaking. What I'd like to know,
7 would it be acceptable for someone like LBNL to develop a
8 case study and submit it? Or if not that, providing some
9 way which you all can -- and obviously LBNL doesn't work
10 free -- but some way which you can, the staff, can have
11 information and help you kind of dial in your analysis and
12 get a lot of -- a very good understanding. And so my I
13 ask, is there -- is that a viable pathway?

14 Well, I guess, first can LBNL develop a case
15 study? And two, can they just provide technical assistance
16 to help you do your job or how would that work? If you
17 could help me understand that, that would be valuable.

18 MR. GALDAMEZ: Wow.

19 MR. STARR: Not all at once now.

20 (Laughter.)

21 MR. GALDAMEZ: Yeah, go ahead, please. Please
22 help. Yeah, that's good.

23 MS. DRISKELL: This is Kristen Driskell with the
24 Energy Commission. The high-pitched "Please help," means I
25 have to speak.

1 We don't have contract funding to contract with
2 LBNL, so if you're asking whether we're going to hire them
3 as a consultant, the answer is no. However, other people
4 in the room might have ways of funding work with LBNL.

5 We've also discussed work with LBNL directly, in
6 sharing information between the two agencies. Well, the
7 Lab and the Energy Commission, they've been open to that.
8 So I don't know if that answers your question, Louis.

9 MR. STARR: Yeah. Well, I'd have to think about
10 if there is a way for us to fund that. Essentially, we're
11 not going to be an in-between, but we would just provide
12 the funding for either a development for a case study or
13 for you to provide a technical assistance. And do it's
14 just we would basically provide the funding to do that.

15 Or potentially, it could be more than a group of
16 us, perhaps. Frankly, I don't know. But anyways just
17 really -- I realized that there was probably not a
18 financial way for you to support that and that's kind of
19 what I was getting at. But it sounds like the answer is
20 yes, is what I kind of heard. Is that --

21 MS. DRISKELL: Yeah, I realized I missed --

22 MR. STARR: -- as long as the CEC talks about
23 paying for it.

24 MS. DRISKELL: I missed your first question. If
25 let's say NIA wanted to contract with LBNL and have them

1 submit a case report that would be acceptable. If LBNL out
2 of its own goodwill wanted to submit a case report we would
3 accept that, too. Those are both viable options as well.

4 MR. STARR: Okay. And as part of just them
5 providing technical assistance to you -- in other words,
6 it's kind of like a help line or you have questions about
7 it, is that also -- as a cheaper solution to all of the
8 other ones? So I just wanted to see is that an option as
9 well?

10 MS. DRISKELL: Yes, but we would also still
11 consider them as a public stakeholder, so communications
12 between us would still be something that we'd want to put
13 in the record.

14 MR. STARR: Okay. All right, well thanks a lot.
15 That's what I needed to know.

16 MR. GALDAMEZ: No problem.

17 Go ahead.

18 MS. ANDERSON: So this is Mary Anderson from
19 PG&E. We might be -- we have a contracting mechanism with
20 LBNL. I don't know if they'd be willing to work with us,
21 but we would interested if there was technical assistance
22 that they were able to provide.

23 MR. GALDAMEZ: Okay. Any more comments online?
24 No? How about here? No? Going once, twice, that's all?
25 Yeah.

1 (No audible response.)

2 MR. GALDAMEZ: All right. Well, this concludes
3 my presentation. Thank you for coming and participating.

4 The good news is we got out of here earlier, so
5 please enjoy the rest of the afternoon. Thank you very
6 much.

7 (Whereupon, at 3:25 p.m., the workshop
8 was adjourned)

9 --oOo--

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24


25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 8th day of August, 2017.



Kent Odell
CER**00548

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



August 8, 2017

MARTHA L. NELSON, CERT**367