

DOCKETED

Docket Number:	17-AAER-05
Project Title:	Phase II Pre-Rulemaking
TN #:	220985
Document Title:	Transcript of 07/20/2017 Pre-Rulemaking Staff Workshop on Tub Spout Diverters, Spray Sprinkler Bodies, and Irrigation Controller
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	8/31/2017 4:17:49 PM
Docketed Date:	8/31/2017

APPEARANCES

CEC Staff Present

Ryan Nelson
Sean Steffensen
Jessica Lopez
Carlos Baez

Also Present

Stakeholders present for Tub Spout Diverters Discussion

Mary Anderson, Pacific Gas & Electric (PG&E) representing
California Investor Owned Utilities (CA IOUs)
Katherine Dayem, Xergy Consulting on behalf of CA IOUs
Frederick Desborough, Flex-Fluss, LP (contractor to PMI)
Jerry Desmond, Desmond & Desmond, LLC, representing
Plumbing Manufacturers Intl. (PMI)
Joanna Kind, Eastern Research Group (ERG) (Contractor to
U.S. Environmental Protection Agency (EPA) WaterSense
Program)
Mark Malatesta, American Standard
Cambria McLeod Kohler
Edward R. Osann, Natural Resources Defense Council (NRDC)
Robert Pickering, ERG (Contractor to EPA WaterSense)
Ed Pike, Energy Solutions, representing CA IOUs
David Silva, California Landscape Contractors Association
(CLCA)
Stephanie Tanner, EPA WaterSense Program
Daniela Urigwe, Energy Solutions, representing CA IOUs
Justin "Bo" White, NegaWatt Consulting, representing
CA IOUs

Public Comment

None

I N D E X

	Page
Introduction and Overview	
Mr. Ryan Nelson - CEC Staff	4
- Purpose of the Workshop	6
Sean Steffensen	
Tub Spout Diverters Presentation & Discussion	
Jessica Lopez	8
Discussion	12
Spray Sprinkler Bodies Presentation & Discussion	
Sean Steffensen	49
Discussion	54
Irrigation Controllers Presentation & Discussion	
Ryan Nelson	84
Closing Remarks	108
Adjournment	109
Reporter's Certificate	110
Transcriber's Certificate	111

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

JULY 20, 2017 10:06 a.m.

MODERATOR NELSON: My name's Ryan Nelson, with the Appliance Outreach Educational Office here at the Energy Commission. Welcome to the Invitation to Participate Workshops. Today we'll be discussing Tub Spout Diverters, Spray Sprinkler Bodies and Irrigation Controllers.

A couple housekeeping items we need to discuss first. When exiting the building please use the front entrance or exit that you used when you arrived this morning. In case of emergency you're to use either exit, the front or the right here.

The right will sound an alarm in an emergency. Feel free to use that exit. We will gather at the park across the way diagonally to the right from the Commission building. Restrooms are located directly out these doors to the lobby and to your right.

And there's a small cafeteria if you need something, a snack or something to drink throughout the day. So here's the Agenda for the day. The first topic will be Tub Spout Diverters, given by -- a presentation given by Jessica Lopez.

Then we'll take a break for lunch and we'll

1 resume in the afternoon with Sean and Spray Sprinkler
2 Bodies, and we'll close out the day with Irrigation
3 Controllers. Throughout the presentations today after
4 certain topics are discussed we'll have a stop for
5 discussion.

6 Please limit your comment to five minutes per
7 comment, not the entire comment period, but if you're
8 making a comment yourself, please limit it to five
9 minutes so we can hear everybody in the room and
10 online.

11 We'll take comments from the room first, then
12 online. If you're on the WebEx, please use the raise
13 your hand function and we'll call your names out loud
14 to announce that you may make your comment. Announce
15 yourself, your name and your organization when making
16 any comment so the court reporter can get the names
17 correct.

18 At the end of the day if anything hasn't been
19 covered or you want to make a general comment, we'll
20 have a period for general public comment for items that
21 may not have fit into the specific discussion points of
22 the presentations.

23 Just a reminder, all comments made today and
24 to the docket are a public comment and part of the
25 public record. If you have information that you feel

1 is confidential and would like to submit confidential
2 information, please contact anyone of us directly.

3 The Commission has a process for that and we
4 can start the process and walk you through it. But
5 please be aware that if you submit confidential
6 information that can't be directly used, you will have
7 to aggregate the data or the information somehow so
8 that we can put it into the public form. Any questions
9 before we begin?

10 Okay. I'm going to hand it over to Sean
11 Steffensen. He's going to discuss where we are in the
12 process and why it's important. Sean.

13 MR. STEFFENSEN: Hi. Good morning. Sean
14 Steffensen. The flow chart addresses why we request
15 the information and how we plan to use it. The need --
16 we need the information to define the problem, in this
17 case an inefficiency.

18 The information provided helps, then, to
19 define the solution. The scope and definitions provide
20 the "what" of what will be included in the standard.
21 How do we know what will and will not be subject to the
22 regulation?

23 The efficiency metric provides the measure by
24 which we rank the performance of individual products.
25 There can be more than one efficiency metric to

1 consider. One or more may be chosen to develop a
2 standard.

3 The test method defines the conditions under
4 which the appliance is tested. Test data identifies
5 the relative performance among products and allows
6 consideration of a standard. Once these items are
7 selected, scope, definition, test method, test data and
8 standard, an analysis must be performed to understand
9 the effect of the proposed regulation.

10 Does the standard achieve the goals of the
11 significant water and energy savings while being cost-
12 effective and technically feasible? If so, then it's a
13 good standard. If not, then we should reconsider the
14 data and modify the standard to meet the criteria.

15 MODERATOR NELSON: Thank you, Sean. Okay.
16 This diagram just is to illustrate where we are in the
17 process. We're very early in our rule-making process,
18 as indicated by the blue arrow. Today is a public --
19 today and tomorrow are the Public Workshops to present
20 information gathered during the ITP process, to take
21 additional comment and, hopefully, to have a discussion
22 in the room and online.

23 We have -- there's a lot of work ahead and I
24 thank you all for coming today. I have two more things
25 I wanted to mention that I forgot to mention earlier.

1 If you're in the room and you want to make a comment or
2 speak, there's a microphone in front of you.

3 There's a button to push that will light up
4 the mic red and that means your microphone is on. So
5 just be aware of that. And then online, if you're
6 having difficulties with the raise your hand function,
7 it could be your phone's not working or your phone
8 connection.

9 You may try to use the Chatbox and we'll get
10 to those comments after we take comments in the room,
11 oral comments over the phone and then we'll take the
12 Chatbox comments. So if there aren't any other
13 questions, we'll begin with -- and I'll hand it over to
14 Jessica Lopez.

15 MS. LOPEZ: Thank you, Ryan. Good morning,
16 everyone. My name is Jessica Lopez. I'm an energy
17 analyst here in the Appliances and Outreach and
18 Education Office here at the Energy Commission. I want
19 to welcome everybody here and those who have tuned in.

20 Today's Workshop will cover information we
21 received for Tub Spout Diverters as part of the
22 Invitation to Participate, which I'll abbreviate as ITP
23 throughout the presentation. So first, I want to lay
24 out the Agenda.

25 I will discuss the purpose of this Workshop

1 and then I will briefly walk through the information
2 requested during the ITP by topic, summarize responses
3 we received and ask a few questions to start a
4 discussion.

5 And then I'll leave it open for comments. And
6 then after discussing the information we received, if
7 there is time available we will leave it open for
8 additional comments. And then at the end we will
9 discuss the next steps following this Workshop.

10 The Energy Commission is gathering information
11 for Phase 2 products in its Appliance efficiency rule-
12 making. The Invitation to Participate is an
13 opportunity for stakeholders to provide information and
14 data that will help shape the Energy Commission's
15 policy regarding Phase 2 appliances.

16 The ITP covered various types of appliances
17 known as the Phase 2 appliances shown here. During
18 this Workshop we will discuss the information and data
19 submitted for Tub Spout Diverters. I would like to
20 thank those that responded to the ITP by providing
21 comments to the Docket, Kohler -- sorry -- so not just
22 Kohler; oh, no; there we go -- Lixil Water Technology
23 Americas, Plumbing Manufacturers International and the
24 U.S. EPA WaterSense Program.

25 The list shown here is the information we

1 requested during the ITP Webinar. Again, I will review
2 the information we requested, summarize the responses
3 we received and provide some discussion questions and
4 then leave it open for comments.

5 I will begin with those in the room and then
6 move to those online and on the phone. Please remember
7 to state your name and your organization you are
8 representing so the court reporter can identify you.
9 Also, please keep your comments brief to allow all to
10 respond within the allotted time per topic.

11 So the first topic that we want to discuss is
12 production definition and scope. During the ITP we
13 asked if California's definitions needed to be updated
14 or improved, and if we should consider WaterSense's
15 proposed definitions.

16 The responses we received showed there was an
17 agreement that the California definitions should be
18 updated and that the specific subtype definitions
19 should be removed. Also, WaterSense noted in their
20 comments that they intend to revise the definition of
21 tub to shower diverter to instead by a diverter
22 mechanism that is embedded in the plumbing, rather than
23 in the plumbing hidden behind the wall, since tub to
24 shower diverters are not necessarily concealed by the
25 shower wall.

1 WaterSense also indicated the specification
2 will include diverters such as roman tub faucets and
3 claw foot tub faucets. Respondents also suggested
4 replacing the current California definitions with back
5 and shower diverter to be consistent with the ASME/CSA
6 test procedure.

7 I want to note the ASME/CSA test procedure
8 mentions the following terms in the test procedure that
9 are relating to Tub Spout Diverter: diverter, bath and
10 shower diverter, Tub Spout Diverter and tub to shower
11 diverters and automatic reset diverter.

12 Of these terms, the only term diverter is
13 defined. WaterSense has proposed definitions for three
14 of these terms. So here I've listed some questions
15 that we can start a discussion with. Although we
16 received comments to change the terms, we did not
17 receive direction on which definitions we should use,
18 and are there other definitions the Energy Commission
19 should consider?

20 I will now pause for comments. I'll start
21 with the room. Go ahead --

22 MR. DESMOND: Me?

23 MS. LOPEZ: -- you can go ahead.

24 MR. DESMOND: Okay. Hi. Jerry Desmond, on
25 behalf of Plumbing Manufacturers International, or PMI.

1 And as stated, you know, PMI submitted a comment letter
2 I think on June 16th or so that addresses the issue as
3 discussed in the previous slides, pointing out that,
4 and so just reiterate, look forward to an updated
5 definition and recommend an updated definition.

6 You know, we note that the current definitions
7 of lift tight, pull tight, turn tight and push tight
8 aren't defined in the product standards and are not
9 part of common terminology.

10 And I think in the letter that was submitted
11 by PMI Technical Director Matt Sigler, who I think is
12 trying to participate but is boarding a plane in
13 Chicago -- so he's either listening in, you know, but
14 he's with us in spirit -- that the reference that he
15 suggested and PMI's suggesting is the ASME A112.18.1
16 diverter.

17 And I think it's specifically bath and shower
18 diverter. When you look at the definition of diverter
19 that's there, the definition of diverter in that exact
20 reference point we believe covers it and would provide
21 the clarity to the manufacturers and the regulated --
22 and the stakeholder community.

23 MS. LOPEZ: Thank you. Anyone else?

24 MR. WHITE: Hello. I'm Bo White, with
25 NegaWatt Consulting, and we're representing the

1 Statewide Codes and Standards Enhancement Team. We'll
2 be writing *16:15:05 report, CASE report about the
3 topic.

4 We think that an extra metric in the database
5 that might be worthwhile would be automatic versus
6 manual reset, since that's a major topic here and might
7 be a good way to have extra information about the
8 diversion database instead of lift, pull, push and
9 turn.

10 MS. LOPEZ: Just to follow up, in that case we
11 would have to suggest definitions are automatically set
12 and -- reset diverter *16:15:42.

13 MR. WHITE: Yes.

14 MS. LOPEZ: Anyone else? Okay.

15 MR. OSANN: Yeah. My name's Ed Osann. I'm
16 with the Natural Resources Defense Council. First of
17 all, let me say we strongly support the Commission's
18 initiative to *16:16:03 to the current statements, but
19 *16:16:07 statements for Tub Spout Diverters.

20 With regard to definitions, at this stage of
21 the development of a standard I think we recommend
22 retaining the four categories that the Commission has,
23 lift up, pick up and so on, *16:16:32 (indiscernible)

24 -- database of products that are disaggregated
25 to those categories. So before casting that aside and

1 aggregating all diverters into one or two other larger
2 categories, I think we need to be a little bit further
3 along in the preparation -- in the analysis and
4 preparation of the standards.

5 The other point I'd make is to agree with the
6 points made by Bo that it would be useful to have a
7 definition for automatic reset diverter. The
8 functionality of that product I think bears more
9 examination and may have implications for how the
10 standard gets set in the final analysis.

11 MS. LOPEZ: Thank you. Do we have anyone
12 online? Does anyone have any more cards? We'll
13 continue onto the next slide.

14 MS. McLEOD: Cambria McLeod here. We do not
15 find much value in differentiating, as they are
16 currently *16:17:52 missing, and that may *16:17:52 so
17 if I -- the biggest differentiators are, is it on the
18 spout, is it an automatic reset and is it in the wall.

19 So the lift, pull, turn type push, all that,
20 we find that there really is not actual value in
21 dividing those *16:18:14.

22 MS. LOPEZ: Thank you. Just to follow up,
23 would it be helpful if we, sort of similar to
24 WaterSense, how they break it down to just a Tub Spout
25 Diverter and then have it so that it's differentiated

1 with those that are in the balance? Would that help?

2 MR. DESMOND: I don't know if -- Jerry Desmond
3 with PMI. I don't know if WaterSense is on the table,
4 but I think they're going to initiate a study on this
5 subject.

6 MS. LOPEZ: I meant the definition. So would
7 it help to break it down to separate it to, those are
8 the -- the diverter mechanism being inside the tub stop
9 and then those that are in the valve? Would it help to
10 break it down that way?

11 MS. McLEOD: It's my understanding that part
12 of that study is going to be investigating that
13 portion.

14 MS. LOPEZ: Okay. But that it is publicly
15 available?

16 MS. McLEOD: It is.

17 MS. LOPEZ: It is. Yeah.

18 MS. McLEOD: Thank you.

19 MS. LOPEZ: All right. If there's no more
20 comments we'll go onto the next topic. So for existing
21 standards and standards on the development, California
22 currently regulates the leakage rate for Tub Spout
23 Diverters when new and then after 15,000 cycles of
24 diverting.

25 In addition, WaterSense had compiled a Notice

1 of Intent to develop a Draft Specification for Bath and
2 Shower Diverters to reduce the leakage rate.
3 WaterSense anticipates releasing its draft
4 specification for this product category this summer and
5 release its final specification by the end of the year.

6 For existing test procedures, California
7 references the ASME/CSA 2012 version, version --
8 Section 5.3.6 and Section 5.6.15 as a test for two
9 different Tub Spout Diverters. During the ITP we asked
10 that the test procedure needed improving.

11 Respondents indicated no improvements were
12 necessary. We did receive comments noting that the
13 Appliance Efficiency Database contains many Tub Spout
14 Diverters that appear to be zero leakage, but may not
15 be since the test measurements are rounded to the
16 hundredths of a gallon per minute.

17 And so I wanted to follow up in regards to
18 that comment on how to best accurately represent the
19 test results in a leakage *16:20:23 unit. Here are
20 some of the questions to start the discussion. How is
21 leakage volume collected and how is it measured?

22 For example, is the leakage volume collected
23 in a catch can, a graduated cylinder, and is it
24 measured in milliliters? And is there a preference to
25 measure the leakage or report the leakage in

1 milliliters per minute?

2 And how many significant digits are retained
3 when converting to gallons per minute from milliliters
4 per minute, or any other measurement unit, if
5 different? Now, I'll ask for comments. Go ahead.

6 MR. DESMOND: Jerry Desmond, at PMI. On a
7 couple of those points of discussion points, the second
8 one, is there a preference to measure or report
9 leakage. What we're finding is that our members,
10 depending on their location, use either metric or
11 English units.

12 And so we would -- PMI would suggest the
13 continuation of both, because it is a good -- it's a
14 helpful reference point for our members who are located
15 all around; all around. In regards to how many
16 significant digits are retained, we do not know that at
17 this point.

18 And in regards to the last point of
19 discussion, is .005 gallons per minute considered .000,
20 mostly yes. I believe there are more details in the
21 PMI Comment Letter that was submitted that does state
22 that our member companies do round to the hundredths,
23 generally, in general.

24 We can't speak for everybody in every
25 instance. So generally, yes, the last point.

1 MS. LOPEZ: Thank you.

2 MR. WHITE: Hello. Bo White with NegaWatt
3 Consulting, and we're on behalf of the California
4 Investor Owned Utilities. That would be a more
5 accurate statement. We spoke to a lab and the lab said
6 that a container was the best way to measure the given
7 leakage flow rates, and that mandating instrument
8 accuracy might be a good idea.

9 The ASME test procedure allows flow meters or
10 containers, and more specific instrumentation and
11 accuracy requirements might help reduce ambiguity in
12 the results across labs and products.

13 And then another thing we learned is -- from
14 the same test lab -- is that a life cycle test takes
15 about a day and that there is a leakage test at the
16 beginning and then there's at least one leakage test at
17 the end, and that each cycle takes approximately six
18 seconds, which would give a life cycle test length of
19 roughly a day.

20 And he said that the diverter is connected to
21 water at the appropriate pressure and temperature, but
22 the -- we conclude from all of this that the test
23 doesn't address water quality issues, since the cycles
24 are so short.

25 MS. LOPEZ: Thank you.

1 MS. McLEOD: Water quality issues are
2 definitely a large factor and one of the root causes of
3 test tub diverter leakage rates in the field. It's
4 very difficult to represent water across the board in
5 every single situation.

6 So that's probably why you see variations in
7 where the test lab is. We're required to utilize
8 potable water, and potable water obviously varies from
9 one street to the next, depending on who's providing it
10 and where it's coming from. So we would agree with
11 that.

12 MS. LOPEZ: Thank you. Do we have anyone
13 online?

14 MR. BAEZ: Online we have a comment from
15 Robert Pickering. Robert, do you have a comment?

16 MR. PICKERING: Yeah. This is Robert
17 Pickering with ERG. We're a support contractor to the
18 EPA WaterSense Program. I kind of wanted to just
19 mirror PMI, and I think the company was NegaWatt
20 Energy's comments.

21 The research that we had done, we had reached
22 out to multiple testing labs to speak with them about
23 sort of what their current methods for measuring the
24 accuracy was. And I agree that they mostly said they
25 use a catch can or a bucket, depending on the size of

1 the leak, just to collect the water, and then use
2 various graduated cylinders or measurement techniques
3 to determine it.

4 It sounded like they would measure in
5 milliliters and then convert to gallons, just because
6 when you're talking about such low leak rage, getting
7 down to granularium in the thousandths or hundredths of
8 a gallon per minute was challenging. So it sounds like
9 they converted. So I just wanted to mirror those
10 comments.

11 MS. LOPEZ: Thank you Robit [sic] -- Robert.

12 MR. OSANN: Yeah, Ed Osann with Natural
13 Resources Defense Council. I think the questions that
14 are raised here, I think largely illustrate the
15 inadequacies of the current ASME test procedure, where
16 there is very little said about the test setup, very
17 little said about the equipment, the measuring
18 equipment, the accuracy, the cycle time.

19 These are either omitted entirely or not
20 addressed with any precision. With regard to the issue
21 of water chemistry, we noted the comment from PMI about
22 the importance of water chemistry as a factor in the
23 failure of Tub Spout Diverters.

24 But the Commission should note that aggressive
25 water chemistry can actually be tested for, and it

1 should be considered for addition to the test
2 procedure. As an example, we point to ASME 18.3, which
3 is the current consensus industry standard for back
4 flow prevention devices.

5 There's a very explicit section in that test
6 procedure -- in the test procedure in that standard for
7 durability testing, where samples are placed in water
8 under very specified conditions, both as to temperature
9 and to the chemical makeup of the water.

10 There's a duration that the products with the
11 -- that the test items, test specimens are specified
12 to, to remain exposed to that, and then put through
13 performance stuff. So that is something that the
14 Commission may want to look at and consider, and the
15 CASE Team also, to look at and to consider as a way of
16 addressing this.

17 We agree that it's an important point. There
18 should be a way of testing for it.

19 MS. LOPEZ: Thank you. Are there any
20 additional comments? Anyone online? All right. So
21 let's continue onto the next topic. During the ITP we
22 requested field studies and test lab reports that could
23 provide details on how the test is being conducted and
24 test results for various types of Tub Spout Diverters.

25 Although no sources of test data were provided

1 other than those available in WaterSense's NOI, source
2 of the data include the Appliance Efficiency Database
3 and test reports requested by the Energy Commission.

4 For discussion, are there any other sources of
5 test data available? The Energy Commission is
6 interested in still receiving test data and field
7 studies and all possible comments. Go ahead.

8 MR. WHITE: Bo White, representing the
9 California Investor-Owned Utilities. We are developing
10 a plan to conduct tests, some of which are similar to
11 those recommended by WaterSense in their recent Testing
12 Research Proposal.

13 This is under development, but what we're
14 thinking is we would test a few auto reset diverters
15 and a few manual reset diverters that are of different
16 mechanisms, push, pull, turn and lift, and that have
17 different ratings of either zero or .01 GPM leakage
18 rate.

19 And we would use a container and a scale with
20 a measurement accuracy of a gram or better. This is
21 all under development, but those are some ideas we
22 have, and we're considering to measure leakage before
23 the five-minute measurement period and afterwards to
24 see what happens there.

25 And we're also considering a test of the

1 degradation of the products due to water flow.

2 MS. LOPEZ: Thank you, both. Is there any
3 additional comments? Online? All right. So let's go
4 onto the next topic in regards to product lifetime. We
5 requested information on the product lifetime of Tub
6 Spout Diverters and the various types.

7 Respondents indicated the product lifetime
8 varies depending on use, water quality and
9 manufacturer. So for discussion, since no definite
10 estimate was provided, WaterSense estimated
11 approximately 22.8 years in its NOI as a product
12 lifetime. Is this value representative of the life
13 span for a Tub Spout Diverter?

14 MS. McLEOD: Okay. There is also an NAHB
15 report that was put out a few years ago.

16 MS. LOPEZ: What was that again?

17 MS. McLEOD: There was an NAHB study that was
18 put out, oh, gosh, a while ago, but it is somewhat in
19 line with that. It estimated just about faucet stream
20 in general, at about three plus year-ish. But that,
21 you know -- water faucet.

22 MS. LOPEZ: Thank you. We'll look into that
23 study. Are there any additional comments? Online?

24 MODERATOR NELSON: Jessica.

25 MS. LOPEZ: Oh, go ahead.

1 MR. OSANN: Yeah. Ed Osann, from NRDC. At
2 this stage we think consideration should be given to a
3 extended lifetime, probably manifested by the -- an
4 extension of the durability testing. The -- some of
5 the industry comments I thought in the -- well, that
6 were submitted most recently noted that in the industry
7 view that these products are primarily replaced, that
8 they're seldom replaced independently.

9 At least I assume residential products are
10 seldom replaced independently, and that their typical
11 life span is set by the remodeling of a structure. And
12 if that's the case then there is some share of these
13 products that may well be in use 30, 40, 50 years, and
14 where some level of leakage above the -- what would be
15 above the current California standard would simply be
16 tolerated, because the product is not typically thought
17 of being independently replaceable, although some are.

18 So all of this suggests to us that a longer
19 product lifetime probably should be considered, and
20 that a longer durability test ought to be evaluated.

21 MS. LOPEZ: Thank you.

22 MR. DESMOND: Jerry Desmond, with PMI, would
23 just caution that we're looking at the average of real
24 data on -- of NAHB WaterSense, of what's the average
25 replacement time, to speculate doubling that, just we'd

1 caution taking that step.

2 MS. LOPEZ: Thank you. Let's go onto the next
3 topic. Let's go back. We actually have a question
4 online.

5 MR. BAEZ: Online, Stephanie, I see that your
6 hand's raised. Do you have a comment?

7 MS. TANNER: Oh, I just -- this is Stephanie
8 Tanner from the EPA WaterSense Program. I mean, I
9 think we have to estimate the life cycle of this
10 product because we didn't have any other data. So you
11 know, we would like to be able to create better data
12 about the life cycle of these products, but you know,
13 we need data from either industry or some other source
14 in order to do that.

15 So you know, we'd be open to data saying that
16 the life cycle is longer, or data saying that the life
17 cycle is shorter, but I mean, I think then
18 manufacturers sent in comments, too, that the life span
19 of these products could be much longer, and they would
20 be subject to like more harsh water conditions. So you
21 know, we would like to be able to get that information,
22 as well, for our program.

23 MS. LOPEZ: Thank you. Are there any
24 additional comments? Let's continue onto the next
25 topic. Product Development Trends. During the ITP we

1 asked if there are any new, upcoming diverter
2 developments.

3 Respondents indicated product development
4 efforts are proprietary. So for discussion, is there a
5 consumer preference driving manufacturers to develop or
6 redesign a particular type of Tub Spout Diverter? You
7 can go ahead.

8 MR. DESMOND: Jerry Desmond, on behalf of PMI.
9 I would just point out it's slightly different than,
10 you know, customer preference, but we do note that, as
11 opposed to manual Tub Spout Diverters, automatic reset
12 diverters address a potential public health and safety
13 issue having to do with thermal shock.

14 And an awareness of that amongst the
15 manufacturers could be identified as a -- one of the
16 driving factors towards movement toward automatic reset
17 diverters. So that's a little off, but I'll throw it
18 in there.

19 MS. LOPEZ: Thank you, Jerry.

20 Go ahead, Ed. Go ahead.

21 MR. OSANN: Yeah. This is Ed Osann. We noted
22 the comments from PMI referencing thermal shock, but we
23 didn't see how they were at all supported. We're not -
24 - it's not clear what the -- how the consumer interface
25 with the shower differs in a way that would either

1 heighten or reduce the potential for some thermal
2 excursion. So we'd be looking for more information on
3 that.

4 MS. McLEOD: In response to thermal shock, so
5 when a customer enters a tub shower the expectation we
6 have on automatic reset diverter -- type diverter
7 system setup, the expectation is that the tub turns on
8 first.

9 And if that does not happen you will be
10 blasted with hot water, cold water. I've had it happen
11 to myself, as well, and it's definitely a hazard for a
12 slip and fall hazard or it could be a slip hazard,
13 depending on how old your *16:36:10 is.

14 So there are definite potentials when you have
15 that sort of expectation with what the product is
16 supposed to perform. Thanks.

17 MS. LOPEZ: Thank you. Anyone else? We have
18 someone online?

19 MR. DESBOROUGH: Oh. *16:36:33 indiscernible.
20 Yeah. Hi, This is Frederick Desborough.

21 MR. BAEZ: That's thermal shock right there.

22 (Laughter)

23 MR. DESBOROUGH: I'm a consultant contractor
24 with PMI, and I support Cambria's comments, basically.
25 *16:36:44 people are thinking *16:36:50 devastating

1 potential for injury, either hot or cold water
2 *16:36:52 when the water is coming directly out of the
3 showerhead operating the valve serving the shower
4 device.

5 So there's a very important factor and has
6 been highlighted by PMI. Just wanted to make that
7 comment, clarification.

8 MS. LOPEZ: Thank you. Is there anyone else?
9 There's someone else.

10 MR. BAEZ: Online, another comment from Mark.
11 Mark, did you have a comment?

12 MR. MALATESTA: No. I raised my hand to
13 answer that question from the NRDC, and I think it's
14 been clarified. But yeah, if it wasn't stated, you
15 know, it's not just hot water. It's cold water. It's
16 hot water. It doesn't matter.

17 If you're in a bathroom and you are surprised
18 by water coming out of a showerhead and now it's wet
19 and now you have hard tile, hard tub, there's
20 definitely a chance for injuries. And if you want to
21 take it the next step, definitely a chance for
22 lawsuits.

23 MS. LOPEZ: Thank you.

24 MR. WHITE: Bo White, with the California
25 Investor Owned Utilities. I have a question for

1 manufacturers and PMI. It sounds like if we're saying
2 that there's an expectation for the water to come out
3 of the tub spout, does -- it seems that the argument is
4 that automatic reset diverters are very common for tub
5 spouts.

6 Otherwise, the customer wouldn't have that
7 expectation. So can anybody speak to what percentage
8 of diverters that are in tub spouts are automatic,
9 versus manual?

10 MR. DESMOND: If that's okay to have a quick
11 response and --

12 MS. LOPEZ: Yeah.

13 MR. DESMOND: Jerry Desmond, on behalf of PMI.
14 You know, my understanding is we don't have firm
15 numbers, but the vast majority of new Tub Spout
16 Diverters that are manufactured and sold by our members
17 are automatic reset diverters.

18 You know, so there are, of course, legacy
19 systems. But again, with the new ones the vast
20 majority are automatic.

21 MS. LOPEZ: Thank you.

22 MR. DESMOND: I would say at least that.

23 MS. LOPEZ: There's no additional comments.

24 So we'll continue onto the -- oh, we've got one.

25 MR. BAEZ: Robert --

1 MR. PICKERING: Yes. This is Robert Pickering
2 from ERG. We had received a lot of these similar
3 comments during our Notice of Intent period for
4 WaterSense. And one of the questions that we sort of
5 had trouble answering, there's two questions, actually.

6 One is, if the auto reset function is so
7 important in protecting health and safety, which I --
8 you know -- I understand the technical validity of the
9 statement, but if it is that important then why is it
10 not required by the ASME Standard?

11 You know, the ASME Standard only requires that
12 on our reset diverters that out -- that market that
13 those on our reset diverters have that function. So it
14 doesn't necessarily require you to actually function
15 that way.

16 The other question was, you know, when we
17 tried to answer the question that Bo White just asked
18 about, what percentage of products on the market are
19 auto reset, we found that this feature is not something
20 that is marketed or advertised or anything by
21 manufacturers.

22 So it seems like if it's that important of a
23 function and that the user is expecting their diverter
24 to function this way, why is it not promoted to the
25 actual end consumer.

1 MS. LOPEZ: Thank you. Any additional
2 comments? Go ahead, Jerry.

3 MR. DESMOND: Just one observation on the line
4 the discussion is taking place is that in many
5 instances the automatic reset diverter is not being
6 purchased by a consumer at retail, but it's part of the
7 -- you know -- you aren't looking at that, and it's not
8 a feature that you're necessarily going to see in many
9 situations.

10 And it's something that's in the new
11 construction or a remodel. So it's not a well-known,
12 like a faucet or a showerhead or a toilet in your home.
13 You're not looking at your -- you know -- a common
14 citizen in California isn't looking at them as a
15 consumer option in many instances.

16 MS. LOPEZ: Thank you. Go ahead.

17 MR. OSANN: Yeah. I'd just reiterate the
18 point. I think this scenario is not well-supported.
19 The scenario described by the industry would suggest
20 that a homeowner's diverter is going to be, you know,
21 surreptitiously changed from an auto reset to a manual
22 reset without their knowledge and they're going to step
23 into the tub the next time and get a surprise.

24 The expectations of the consumer are set by
25 the consumer's own experience, and no adults that I

1 know will knowingly get into a shower expecting hot
2 water to arrive before the hot water does arrive. And
3 again, this does not seem to be a well-founded
4 assertion that a manual reset is a particular threat to
5 consumer safety.

6 MS. LOPEZ: Go ahead.

7 MS. McLEOD: I would also like to continue the
8 comment earlier on this topic. It's not just adults.
9 It's children. You have children; put them into the
10 hot tub, turn the hot tub on and the shower turns on
11 automatically on too many people. So it's not just
12 adults. It's also other people.

13 This is a situation I've personally
14 encountered and *16:42:59 has encountered and that's
15 why we had included it as part of the *16:43:01, to
16 protect public safety, safety of the *16:43:08.

17 MS. LOPEZ: Thank you. Do we have comments
18 online?

19 MR. BAEZ: Online, Mark Malatesta, did you
20 have a comment?

21 MR. MALATESTA: Yeah. I think -- *16:43:21
22 comments to Robert's comment. The reason it's not
23 marketed or anything is because in its common entry
24 perception it is user perception. So it's not a
25 feature. It's just something that you need to do for

1 the safety of humans.

2 And to Ed's comment, have you ever spent a
3 night in a hotel? You mentioned just residential.
4 Well, we sell products for everywhere. You are in a
5 hotel you don't know exactly how the shower is --
6 works. I don't.

7 But when I turn the handle on I expect the
8 water to come out of the tub spout and not the
9 showerhead.

10 MS. LOPEZ: Thank you. Do we have any
11 additional comments?

12 MR. MALATESTA: Actually, I shouldn't say "I."
13 I think the industry perception that everyone -- you
14 know -- you can't change it, what's been out there for
15 whatever many years. It is what it is, but I think
16 that is common perception nationally.

17 I know this is a California topic, but --
18 today -- but yeah. Anyone who turns on the shower and
19 you go to a hotel, you're expecting the water to come
20 out of that tub spout and not out of the showerhead.
21 And otherwise, like I've said before, it's -- bad
22 things will happen and whatever.

23 MS. LOPEZ: Thank you, Mark. Do we have one
24 more comment online?

25 MR. BAEZ: Yeah, another comment from Robert.

1 Robert, do you have a comment?

2 MR. PICKERING: Yeah. I want to respond to
3 PMI's I guess response to my questions, and Mark's, as
4 well. For PMI, you said that it's not a feature that's
5 advertised to consumers because the end consumer isn't
6 the one necessarily purchasing the product.

7 Well, we investigated technical specification
8 sheets and things that would be viewed by plumbers or
9 home designers or home builders, people who do care
10 about that information. So you know, again, I find it
11 hard to believe that that's not shared anywhere.

12 You know, Mark's explanation I guess would
13 provide a little bit more reasoning why it's not
14 advertised, but if it is, I guess the unofficial
15 standard within the marketplace that lies in --
16 actually, the standard within the ASME/CSA Standard, is
17 it that important to health and safety that it should
18 be in the National Standard that controls these
19 products.

20 MS. LOPEZ: Thank you. You have one more
21 comment?

22 MR. BAEZ: Frederick, do you --

23 MR. DESBOROUGH: This is Frederick Desborough
24 *16:45:50 indiscernible statement. I think the -- just
25 for clarification -- the risk *16:46:02 tough spot --

1 specifically *16:46:05 and they do leak on this tub
2 spout type mechanism, but that column of water, which
3 is *16:46:15 that column of water obviously needs to be
4 -- come down hotter for the water to reset back to the
5 tub spout function *16:46:35 end up with what
6 *16:46:37. I just wanted to clarify so that people on
7 the fence could *16:46:41

8 MS. LOPEZ: Thank you, Frederick. We had
9 trouble hearing you. We couldn't understand most of
10 what you said. If you could provide that in the
11 docket, that'd be great. Are there any additional
12 comments?

13 So let's move onto the next topic,
14 Maintenance, Operation and Function. We asked about
15 shower durations during the ITP, and WaterSense
16 provided in their comments and also on their NOI that
17 the average duration of a shower is 7.8 minutes, and
18 that the typical number of showers per capita per day
19 is 0.70 showers.

20 Then we asked for descriptions of various
21 types of diverter mechanisms. Respondents indicated
22 diverter mechanisms varied by diverter type and by
23 manufacturer. We also asked for -- we also asked if
24 there are factors that can cause diverters to leak.
25 Respondents indicated that hard water causes diverters

1 to leak over time.

2 So for discussion I've asked, are the shower
3 durations and the use values representative of
4 California, and how does industry define the various
5 types of diverter mechanisms, such as lift gate. I
6 don't know if you guys use that term, positive shutoff.

7 And are their -- and then are their products
8 tested against other water quality characteristics,
9 other than those in the test procedure. And I'll open
10 it up for comments.

11 MR. DESMOND: Seems like I go first.

12 MS. LOPEZ: Go ahead, Jerry.

13 MR. DESMOND: I wouldn't mind somebody else
14 going first; be find with me. Jerry Desmond, with PMI,
15 on the third discussion item. I think we have
16 confirmed that the only water quality characteristics
17 that we've tested our products to are in ASME/CSA. So
18 we have an answer to that one.

19 MS. LOPEZ: Thank you. Is there anyone
20 online?

21 Ms. McLEOD: In addition to water quality, if
22 you have a 0.0 leakage, it actually could accelerate
23 the wear because you're basically keeping that sealant
24 engaged, and it's in that engaged point is they're
25 getting a lot more pressure and it actually could

1 potentially decrease that product's life span if it's
2 stuck in that engaged cycle *16:48:52 locked situation
3 for longer periods of time.

4 MS. LOPEZ: Thank you. Anyone else? All
5 right. So let's continue onto the next topic, Water
6 Savings and Efficiency. During the ITP we requested
7 input on the water savings factor mentioned in
8 WaterSense's NOI, and requested studies showing water
9 savings.

10 WaterSense's NOI provides water savings data
11 and field studies related to leakage. It was noted
12 that a study referenced in the NOI was not available to
13 the public. WaterSense has submitted data in regards
14 to that study in our Commission's docket.

15 To conduct water savings analysis the Energy
16 Commission would apply a percentage based on households
17 in California compared to households in the U.S. to the
18 data in WaterSense's NOI. So for discussion, can the
19 data be extrapolated to be representative of California
20 savings, and are there other estimates of water savings
21 out there? I'm going to open it up for comments.

22 Ms. McLEOD: The studies from the EPA only
23 represent about four different areas. So it's not
24 necessarily representative of the nation as a whole,
25 and definitely not representative of California. I

1 don't believe any of them were in California.

2 Some of the folks that actually did the
3 studies themselves, you can, you know, dig a little bit
4 deeper and read them. The information is definitely
5 lacking. They're a good start, but they don't really
6 encompass everything that you do need to know to have a
7 relevant study.

8 But regardless of those studies, you're
9 changing the test. You're not changing what's
10 necessarily happening in the field, and so you need to
11 compare the water savings from your -- right now in
12 your test to what your planned test is going to be.

13 And so if you do that and then you also take
14 into account some of the other studies had mentioned if
15 you divert the water, if you do the diversion, some
16 percentage of the water will go back to the showerhead.

17 So if you take that person's one study that
18 said I think it's about 30 percent goes back to the
19 showerhead. So if you do that, compared to a 0.0 now
20 versus a .01, you're going to be saving the equivalent
21 of a two GPM showerhead in California.

22 It is one-and-a-half second shower, so to
23 spend another second-and-a-half in the shower, that's
24 like what you're saving, but in reality, you're
25 probably not even going to be saving much because the

1 Tub Spout Diverters, the replacement rate is a tiny
2 percentage of people that are actually replacing them.

3 And then also, there's a huge increase in tub
4 shower removals to shower only situations. So you're
5 not going to have that one-to-one replacement rate on
6 the savings, as well. So it definitely is a topic that
7 needs to be discussed, and specifically, you know, in
8 California, and a lot of details need to be hashed out
9 before you can actually, truly verify what the test
10 savings will be.

11 But then, in reality the long-term savings is
12 going to be very different, depending on water quality
13 installation, on what type of diverter is going to be,
14 you know --

15 MS. LOPEZ: Thank you. Any additional
16 comments? Do we have anyone online? No. Well, let's
17 go onto the next topic in regards to costs. So Staff
18 requested information on cost, such as cost per unit,
19 the cost difference between products and with and
20 without water-saving features, incremental costs to
21 improve the device and water delivery costs.

22 No comments were received. For discussion:
23 are there sources of cost data, and when considering
24 your proposal as part of the ITSP, please identify the
25 least cost pathway to comply. And I'll pause for

1 comments.

2 There's no comments. We'll continue onto the
3 next topic. Market Characteristics. We asked about
4 the current stock, market breakdown and historic and
5 projected sales. No comments were received. Staff
6 assumes the existing install base of one unit per
7 household, which is equivalent to about 8.1 million
8 homes.

9 Next, WaterSense stated that most lift type
10 diverters and pull type diverters are characterized as
11 automatic reset diverters. Based on this
12 characterization and data from the Appliance Efficiency
13 Database, Staff estimates 70 percent of the market to
14 be automatic reset diverters and the remainder are
15 manual reset diverters.

16 Staff also assumes new sales are equivalent to
17 newly-built residential homes, retrofits, remodels and
18 replacements. Respondents also indicated a significant
19 increase in replacement of tub/shower combinations with
20 shower only installations.

21 And during the ITP we also asked how small
22 businesses will be affected, but no comments were
23 received. And so here's a list of the questions that
24 we can start with. So the Energy Commission is
25 interested in receiving additional data on current

1 installations of Tub Spout Diverters, and are the
2 values reasonable estimates for California.

3 And what is the source of this replacement
4 trend? Is this trend representative of California and
5 do small businesses in California play a role in the
6 manufacturing sale of installation of these products?
7 And I'll pause for comments. Do you have anyone
8 online?

9 Okay. So we'll continue on to the next topic.
10 During the ITP we asked if there were any features or
11 designs that could prevent Tub Spout Diverters from
12 meeting a maximum leakage rate that is below the
13 current standard.

14 Respondents indicated that it would be
15 difficult for an automatic reset diverter to achieve a
16 0.0 gallon minute leakage, since it would prevent
17 automatic reset diverters from resetting to the tub
18 position, which in turn prevents the column of water
19 between the diverter and the showerhead to escape due
20 to no pressure relief. This can lead to potential
21 thermal shock to the next user.

22 WaterSense indicates that a two decimal point
23 level of precision allowed a small amount of leakage up
24 to 0.005 gallons per minute that can insure the
25 automatic reset function is maintained. And so here

1 are some discussion questions.

2 I know we covered most of them in some other
3 breaks, but again, I'll just ask these. How does an
4 automatic reset diverter function? If you could
5 explain the different diverter mechanisms. And explain
6 what a hydraulic block is for the various types.

7 And is there evidence of thermal shock to
8 users? Is WaterSense's characterization a reasonable
9 assumption and are there products that can achieve zero
10 leakage and that are automatic reset diverters? And
11 now, I'll pause for comments.

12 Go ahead, Jerry.

13 MR. DESMOND: Jerry Desmond, on behalf of PMI.
14 And I agree, some of the issues were addressed earlier
15 on and won't repeat those, especially on thermal shock.
16 But however, on the last of the, are there products
17 that can achieve zero leakage rates, are not -- and
18 then are automatic reset diverters -- we could say,
19 we're not aware of any.

20 But also more importantly, maybe this is the
21 opportunity to bring up -- and I believe I heard that
22 Stephanie Tanner with WaterSense is on the phone, who
23 could speak to it more specifically. We thought this
24 would be the opportunity to bring to the attention the
25 announcement.

1 And I think it was a week and a half or so
2 ago, by WaterSense that a study is being sought to
3 initiate a discussion, and I mean, Stephanie could talk
4 about it more, but what I see from the announcement or
5 what we see from the announcement is that WaterSense is
6 stating that before moving forward with developing a
7 spec for bath and shower diverters, that WaterSense is
8 seeking to do two things in the study.

9 One is to determine if a nominal leak rate is
10 necessary for the auto reset diverters to function, and
11 if so, to quantify the minimum leak rate required. And
12 we believe that that study and that look is really
13 important, and that we are engaged at WaterSense, as
14 PMI and our member companies, and that that is the
15 study that should be looked at and the results ought to
16 be brought part into this process, as well.

17 MS. LOPEZ: Thank you. Are there any
18 additional comments in the room? Go ahead, Bo.

19 MR. WHITE: Bo with the Investor Owned
20 Utilities, representing them. About hydraulic lock,
21 the way that we look at it is that when you close your
22 shower valve all you're left with in terms of pressure
23 is maybe three or four feet of head from the column of
24 water, and you're open to atmosphere at the showerhead.

25 So it doesn't seem like there would be an

1 issue of excessive pressure on a diverter that might be
2 closed. And then related to that, with the diverter
3 being closed and that column of water in the piping,
4 the seal of the gasket is up against the metal.

5 So it's not as in contact with the water
6 during that period, because part of it -- if it's
7 sealed it's not touching the water. So maybe there
8 might be more degradation when the diverter opens and
9 closes, and is open between showers because then it
10 could dry out and maybe scale could form.

11 And then the other topic of whether -- related
12 to automatic reset diverters and whether they leak, at
13 least one manufacturer told us that there is often
14 designed a weep hole or passage way in the diverter to
15 make it easier to auto reset at the end of the shower,
16 and that might be causing leakage during the shower.

17 MS. LOPEZ: Thank you. Are there any
18 additional comments in the room before we move online?
19 Go ahead, Jerry.

20 MR. DESMOND: Well, maybe on two of the issues
21 that Bo's bringing up. I do -- PMI does recognize and
22 sees the discussion items on those two issues that Bo
23 was addressing, as well in his group, auto reset
24 diverter functions, how those function, as well as the
25 hydraulic lock, and we will get more information to

1 provide and submit on those more detailed.

2 We see there's a need for more information and
3 understanding on both of those. So we will be engaged
4 on those.

5 MS. LOPEZ: Thank you. We would appreciate
6 that.

7 MR. DESMOND: Yes.

8 MS. LOPEZ: Is there anyone else in the room?
9 Okay. Let's move to somebody on the phone.

10 MR. BAEZ: Robert Pickering online, did you
11 have a comment?

12 MR. PICKERING: Yes. I wanted to speak on
13 behalf of Stephanie EPA WaterSense. So as PMI
14 mentioned, we did post a research proposal on the
15 WaterSense page for bath shower diverter, NOI, that,
16 you know, we don't have any specific partners yet to
17 help get that research conducted, but we're hoping that
18 that research would be able to answer some of these
19 questions that are being asked by CSE, as well.

20 Harry [sic], was there any other specific
21 questions that you've asked that you'd like me to
22 address? I forget exactly what you had requested
23 clarity on from WaterSense.

24 MS. LOPEZ: Go ahead.

25 MR. DESMOND: If it's Jerry, I'm fine. Thank

1 you.

2 MR. PICKERING: Hey, Jerry. Sorry about that.

3 MR. DESMOND: No, that's --

4 MODERATOR NELSON: Okay. Are there any
5 additional comments? So we have time if you want to
6 discuss any additional topics. So following the ITP
7 Workshop is the invitation to submit proposals, in
8 which the Energy Commission will requests for Tub Spout
9 Diverter efficiency standards.

10 We will conduct an ITSP Webinar on August 1st
11 to explain the proposal process and the proposal
12 template. Proposals may be submitted until September
13 1st of this year. Additional comments on this topic
14 may be submitted to the Commission docket.

15 And here's a diagram showing the Appliance
16 Efficiency Rule-Making Process. The blue box
17 highlights our current position, and again, our next
18 step is the invitation to submit proposals. So here's
19 my contact information.

20 Please feel free to contact me with any
21 questions, comments or concerns. You can also submit
22 any new comments or submit new information via to the
23 docket. This concludes my presentation and thank you
24 all for your participation and time today.

25 MR. DESMOND: Thank you.

1 (Recess at 11:04 a.m., until 1:07 p.m.)

2 MODERATOR NELSON: So here's today's Agenda.

3 We are -- our next topic, as I stated earlier, are
4 Spray Sprinkler Bodies, and Sean Steffensen will be
5 discussing that topic. To follow, we will have
6 Irrigation Controllers, and then if there are any
7 additional public comments that want to be made, we'll
8 have time for that at the end of the day.

9 Throughout the presentations today, after a
10 topic is covered we will open it for discussion. We
11 will take comments in the room. You raise your hand or
12 indicate that you want to make a comment. You'll be
13 allowed to do so if you're in the room.

14 Please push the button on the mic in front of
15 you and it will light up red, indicating that your mic
16 is on. The acoustics within the room are a little
17 difficult sometimes. So please attempt to speak
18 clearly into the mic.

19 You may have to scoot forward a little bit to
20 make it easier for everybody to understand your
21 comment. Online, please use the raise your hand
22 function and we will call out your name and ask you to
23 state your name again and your organization for the
24 court recorder.

25 And then if you having difficulties online

1 raising your hand, feel free to use the Chatbox and we
2 will do our very best to get your written comment in
3 the Chatbox. Okay. Now, I'll turn it over to Sean.
4 He's going to cover the rest of the intro and he will
5 take off right into irrigation -- I'm sorry -- Spray
6 Sprinkler Bodies after that.

7 Sean.

8 MR. STEFFENSEN: Good afternoon. I'm Sean
9 Steffensen. The flowchart addresses why we request the
10 information and how we plan to use it. We need the
11 information to define the problem, in this case an
12 inefficiency.

13 The information provided helps then to define
14 the solution. The scope and definitions provide the
15 "what" of what will be included in the standard. How
16 do we know what will and will not be subject to the
17 regulation?

18 The Efficiency Metric provides the measure by
19 which we can rank the performance of individual
20 products. There can be more than one Efficiency Metric
21 to consider. One or more may be chosen to develop a
22 standard.

23 The test method defines the conditions under
24 which the appliance is tested. Test data identifies
25 the relative performance among the products and allows

1 consideration of the standard. Once these items are
2 selected, scope, definition, test method, test data and
3 standard, an analysis must be performed to understand
4 the effect of the proposed standard.

5 Does the standard achieve significant water
6 and energy savings while being cost effective and
7 technically feasible? If so, that is a good standard.
8 If not, then we should reconsider the data and modify
9 the standard to meet the criteria.

10 Is this the right keyboard? Oh. So we're at
11 the beginning of the public participation in this Pre-
12 Rulemaking. We've received your comments and now we're
13 here to vet the information, as I described on the
14 previous slide, and I will be looking forward to
15 participants building off this set of information to
16 submit proposals to us for our consideration. Do you
17 know where the presentations are?

18 MODERATOR NELSON: It's on here *16:07:55

19 MR. STEFFENSEN: Okay. Continuing on. This
20 is Sean Steffensen. I'm a mechanical engineer with the
21 Appliance Outreach and Education Office. Today, I will
22 be here to discuss the information we received for the
23 Spray Sprinkler Bodies as part of the Invitation to
24 Participate.

25 I will discuss the purpose of the Request for

1 Information and how your responses support the
2 development of proposals for the Appliance Efficiency
3 Standards. At each topic I will present a summary of
4 responses received and allow discussion amongst
5 stakeholders and the Commission. At the end I will
6 present the next steps in this rulemaking process.

7 On March 14th, 2012, the Commission issued an
8 Order Instituting Rulemaking to consider standards,
9 test procedures and labeling requirements for
10 appliances. Staff held the Invitation to Participate
11 Workshop on May 11th, 2017, to request information that
12 will shape the Commission's Phase 2 standards. Staff
13 will discuss responses to the comment period that
14 closed June 16th, 2017.

15 The ITP covered a broad range of electrical,
16 mechanical and water appliance that consume a
17 significant quantity of energy and water in California.
18 Today I will focus upon the information received for
19 the Spray Sprinkler Bodies.

20 Other presentations will review the
21 information received for the other topics. I would
22 like to thank those that responses to the ITP and
23 provided comments to the docket. Those included the
24 California Investor Owned Utilities, the Center for
25 Irrigation Technology, Hunter Industries, the

1 Irrigation Association, Irrigreen, the Natural
2 Resources Defense Council and the U.S. Environmental
3 Protection Agency.

4 This list shows the information requested at
5 the ITP Workshop. Today, we will review responses to
6 each topic and allow discussion of the responses or
7 additional comments. So let us begin. Here's the ITP
8 slide on Product Scope and Definition.

9 What's in, what's out, what products should be
10 considered for a standard. How should the products be
11 classified? What names should be used? What features
12 define such products and are there existing definitions
13 that are relevant?

14 And I'll just point out here, there are a
15 considerable number and type of sprinkler heads that we
16 may consider today, and this is an essential part of
17 this process, is to identify in your proposals what
18 should and should not be covered with a standard.

19 Here are the comments received. Respondents
20 noted that the ASABE/ICC 802-2014, the Irrigation
21 Association, Smart Water Technologies and the U.S. EPA
22 WaterSense draft specification on Spray Sprinkler
23 Bodies contain definitions on irrigation equipment.

24 Respondents also provided comments regarding
25 what should be within and out of the scope of the Spray

1 Sprinkler Standard. I note that there seems to be a
2 lot of agreement on the scope and definitions. Let's
3 take a moment to review the comments before I turn to
4 the discussion slide.

5 So again, I think the Spray Sprinkler Body --
6 or term is widely used, in that there is a lot of -- as
7 far as what should be used to define these products,
8 there's a lot of consistent commenting on that.

9 I have listed questions here to help our
10 discussion. We can consider one or more questions, and
11 in any order. Please keep your comments brief so as to
12 allow all to respond within the five-minute period.
13 Additional comments may be made in writing to the
14 Commission and are encouraged.

15 I can also flip back to the previous slide to
16 help with the discussion. So here, I'd like to bring
17 up what it is we think could be within the scope of a
18 proposal, how best to divide up those devices and just
19 open it up to the floor to discuss scope and
20 definitions. So I guess somebody wants to --

21 MR. PIKE: Hi. My name is Ed Pike, with
22 Energy Solutions, on behalf the California IOU Codes
23 and Standards Team. And I think that you have hit the
24 nail right on the head by the need of Spray Sprinkler
25 Bodies is the place to start for irrigation devices.

1 I mean, I understand you have a broader scope
2 of authority, so that's not necessarily, you know, the
3 end of the process. But that seems to me where most of
4 the water is used in irrigation. With pressure
5 regulation there's a great opportunity to avoid lots of
6 different mechanisms of wasting water through over-
7 spray, misting, over-application rates.

8 And the pressure regulation seems to be a very
9 promising opportunity to do that, and my recollection
10 is that the DWR convenes independent technical accounts
11 -- sorry -- Independent Technical Panel had recommended
12 looking at that, as well as also check valves. So
13 definitely we would encourage you to consider both of
14 those two options.

15 MR. STEFFENSEN: All right. Thank you. We'll
16 continue on with discussion, looking to others.

17 MR. OSANN: Hi. This is Ed Osann, with the
18 Natural Resource Defense Council. First, let me say
19 that we strongly support the Commission's initiative in
20 this area. We believe this is a very important product
21 category, very promising in terms of potential savings,
22 and probably a priority of the three water-using
23 products that the Commission currently has assigned
24 docket numbers for.

25 And we also believe that pressure regulation

1 and low-head check valves are important measures to be
2 encompassed by the standard.

3 MR. STEFFENSEN: Are there people online?

4 Well, thank you for the comments. One thing I would
5 like to note in contrasting some of the definitions in
6 some of the areas out there is what we would pass in
7 California would be a regulation that would provide
8 mandatory requirements for certain types of equipment,
9 those that are within the scope, to contrast that with
10 the WaterSense Program, a good program, that provides
11 voluntary standards for those that choose to select and
12 then bear the WaterSense label.

13 So we do want to -- I want to emphasize that
14 there will be a lot of care on the Commission's part to
15 try and define what exactly we will regulate and to try
16 to very clearly define what we will not regulate, to
17 define what is ready and what is not ready.

18 And so I would -- for those in the room, and I
19 apologize to those online, I mean, I'll hold up a
20 couple sprinkler heads and ask what are these Spray
21 Sprinkler Bodies. I mean, it's a very -- and I'll flip
22 -- maybe I'll flip back to the other slide.

23 So that's -- so I'm holding up a sprinkler
24 head that's on the very upper left-hand side, and I
25 think this clearly meets the definition of what a Spray

1 Sprinkler Body is per the ASABE test procedure.

2 It appears to be an Irritrol I-Pro series
3 sprinkler head. And I believe it does contain the
4 typical devices, such as a retraction spring, a riser,
5 a body itself and a means to attach to a plumbing
6 system.

7 So those are items -- and some of those terms
8 I threw out there are not within the definition of the
9 ASABE test procedure, you know. So if in a proposal
10 those stakeholders that are considering proposing, we
11 would want to know how to define what is in versus --
12 and I'll hold up another sprinkler head.

13 This is one that I don't think WaterSense has
14 considered. It's -- is there a picture up there? It's
15 the brass body sprinkler head. It does not have the
16 retraction springs. It's made almost entirely of
17 brass.

18 And as I would read the definition of the
19 ASABE test procedure and the definitions for Spray
20 Sprinkler Body, I would tend to conclude that if we
21 adopted that definition in whole, that this would be
22 included.

23 So again, just to point this out and make a
24 comment myself on this part of this proceeding that we
25 want to carefully consider what will be in and what

1 will be out, and what definitions we will use. So
2 again, if anyone would like to comment further upon
3 this, this is I think a very essential area to this
4 rule-making.

5 And of course, there are various other ones,
6 shrub sprinkler adapters that would go onto the end of
7 a sprinkler riser to just -- so a nozzle can be
8 threaded on. That could potentially be another area
9 where we want further clarification, request further
10 clarification of what may be in or out.

11 Okay. I'll continue on. We're now on slide
12 10. We requested information on test procedures, and I
13 will share your comments on the next slide.

14 Respondents identified a number of test procedures.
15 Pressure regulation can be tested by four test methods.

16 The ASABE/ICC 802-2014, a modified ASABE/ICC
17 802-2014 that was modified by WaterSense per their
18 draft specification. The Irrigation Association
19 stability test and the Irrigation Association SWAT
20 Pressure Regulating Sprinkler test.

21 Commenters noted that some test procedure may
22 be improved and suggested modifications. In the
23 discussion I would like to explore some of the
24 respondents' reasons for noting these modifications.
25 The California IOUs identified anti-burst capability as

1 a major quality.

2 Staff reviewed Rain Bird and Hunter websites
3 and found additional test procedures that these
4 manufacturers used internally to develop products and
5 measure their products' performance versus competitive
6 products.

7 These tests include durability, burst, surge,
8 wind drift, pressure, coverage and cap leak. This
9 information suggests additional Efficiency Metrics may
10 be available to evaluate the water efficiency of these
11 devices.

12 I would like to discuss and receive comments.
13 I have also included some discussion points here, as
14 well as, as you see in the middle of the slide,
15 manufacturer internal product development tests. I
16 have some end notes at the end of this presentation as
17 to when I refer to these manufacturer development
18 tests, where you could find those for more information.

19 I'd like to open up -- the floor up to
20 discussion of test procedures. Okay, Ed.

21 MR. OSANN: Ed Osann, with NRDC. We noted
22 that in the record created here that the water sense
23 program submitted a recommendation, largely, primarily
24 around the desire to maintain consistency or
25 compatibility of test procedures.

1 That's a recommendation that we share,
2 recognizing that the differences between the programs,
3 the voluntary nature of WaterSense and the regulatory
4 nature of the CEC Program notwithstanding, there really
5 will be advantages I think for the industry from having
6 -- and I'm choosing words here -- I would say
7 compatible test procedures, if not identical test
8 procedures.

9 And I'd say that to point out the difference
10 in that while if they were identical that would be
11 great, but they probably don't have to be identical as
12 long as they are reasonably compatible. And as an
13 example, as a for instance, if one test procedure calls
14 for measuring -- for three measurement points and
15 another -- and the other test procedure calls for five
16 measurement points, those aren't particularly
17 incompatible.

18 More significant difference would be one test
19 procedure calling for flow measurement through a needle
20 valve and another test procedure requiring flow
21 measurement through a sprinkler nozzle, in which case
22 the results of one test would not be -- would really
23 not be representative or acceptable under the other.

24 So I think it's those major forks in the road
25 that need to be resolved early on, and that

1 compatibility be the major goal here. I think there
2 are a few details that are still sort of outstanding
3 with regard to the test procedures.

4 From our perspective, we believe that
5 WaterSense made a great deal of progress with this
6 product, and in trying to make advances in the test
7 procedure they have shifted the basis of the
8 performance metric from pressure to flow.

9 We've reviewed the reasons that they stated
10 for doing that and we find those to be acceptable.
11 They have modified the ASABE test procedure to use a
12 needle valve to regulate flow. We understand their
13 pros and cons, but we reviewed WaterSense rationale for
14 that and find that to be acceptable.

15 And we think they did a great, great job in
16 sorting through some of these issues that has resulted
17 in a test procedure that is generally replicable.
18 There are some remaining questions relating to the
19 final resolution of the WaterSense specification, but I
20 think they'll probably come up in some of the other
21 slides that we've got here beyond this point.

22 MR. PIKE: Hi. Ed Pike speaking. And I just
23 wanted to follow up on Ed Osann's comments about the
24 metric, the pressure versus the flow, and I would agree
25 that, you know, either one should be capable of

1 providing indication of the product performance.

2 And one thing I want to note is, when
3 measuring flow versus pressure it's harder to measure
4 flow and the variability of flow will be less than the
5 variability in pressure. So you're looking for
6 probably a narrower tolerance.

7 So the EPA Test Lab used instrumentation that
8 had a very good level of precision that was tighter
9 than the IA procedure, which I think EPA had initially
10 proposed to follow in terms of accuracy and resolution.
11 So I think with the measure both of flow that's a level
12 of precision accuracy that the University of Florida
13 achieved in their testing for U.S. EPA is a good
14 benchmark to aim for.

15 MR. STEFFENSEN: Is there anyone online that
16 would like to make a comment? No. Thank you for your
17 comments. Moving on, now, to sources of test data. We
18 asked for various sources of test data to explore the
19 differences between different models and products, and
20 also, case studies showing before and after the
21 implementation of water saving features.

22 Comments are shown on the next slide. Thank
23 you for providing these sources of data and discussion
24 of other sources of data. On the next slide I note
25 case studies showing reduction in water use after

1 irrigation retrofit with various SSBs.

2 There are quite a number of various studies,
3 some sponsored by manufacturers, others by utilities
4 looking for water savings. These all show significant
5 water savings using various techniques. Staff would
6 request additional case studies to show the various
7 water saving capabilities and features.

8 And I've put the end notes in to indicate
9 where these studies can be viewed for further
10 information. So I'd open it up now to, are there
11 additional sources of test data which show the relative
12 performance of these products and water saving
13 features?

14 I don't see any comments in the room. Any
15 comments online? Okay. No. Okay. We'll move on.
16 This is an essential part of the rulemaking, is to show
17 what the savings will be. It goes into our cost-
18 effectiveness and technical feasibility and LOCs, as
19 well as noting that there will be products available by
20 the time of the effective date.

21 I think we do have some good sources of data,
22 but we always enjoy and like to see more. So Staff
23 requested information on existing and developing
24 standards for Spray Sprinkler Bodies. These are some
25 of the comments.

1 The U.S. EPA and the California IOUs listed
2 the WaterSense draft specification on Spray Sprinkler
3 Bodies. That's a standard in development. The U.S.
4 EPA provided an update for the specification and it's
5 in the process of being finalized and they expect
6 products labeled with their WaterSense label to appear
7 by the end of 2017.

8 The U.S. EPA is also working with the ASABE to
9 update the 802 Standard. The California Model Water
10 Efficiency Landscape Ordinance, another standard that's
11 out there that has to do with what must be installed at
12 the time of new landscaping.

13 It requires SSBs to comply with the 802
14 Standard as well as have drain check valves. The IAPMO
15 Green Code and the International Green Code
16 construction require matched precipitation rates and
17 other requirements.

18 So Staff would like to discuss if there are
19 other relevant standards for SSBs. And again, these
20 standards do show a variety of approaches to water
21 savings. Open it up to the floor.

22 MR. PIKE: Hi. Actually, I'm not sure if this
23 fits under this slide or a previous one, but you're
24 probably already aware of this, but there's also the
25 Irrigation Association Protocols for check valves.

1 MR. STEFFENSEN: Oh, as far as the standards.
2 Okay. Well, we note that. Thank you. There any other
3 comments in the room? Other comments online? Okay.
4 Staff requested information on product lifetimes.
5 Staff received no comments.

6 Staff estimates product lifetimes as 10 years,
7 based upon a doubling of the warranty period for SSBs.
8 I've noted in the end notes the two manufacturer
9 websites that show warranty periods. I open it up to
10 comments upon what would be a reasonable product
11 lifetime.

12 This would go into studies of cost-
13 effectiveness. Any comments online? So moving on, we
14 received a comment -- oh. We received a comment
15 regarding a sprinkler head that's -- so we're looking
16 at product development trends.

17 So we received a comment regarding a sprinkler
18 head that had a digitally controlled head with embedded
19 software. Staff found other product trends for review
20 of manufacturer literature. Manufacturers claim to
21 improve the durability and water seal of the wiper
22 seal, also, enhancements to extend the durability and
23 product lifetime that could lead to water savings.

24 New nozzle designs, larger droplet size to
25 discourage evaporation and wind drift and provide more

1 even distribution of water, spray patterns to reduce
2 over-spray in square and narrow landscape areas are
3 other examples of product development trends.

4 Another product development trend is to match
5 precipitation rate nozzles to improve water
6 distribution and reduce runoff and over-spray. So I'd
7 like to open it up here to any other product
8 development trends that people would like to comment
9 upon. Seeing no comments in the room, are there
10 comments online? Oh, good, we did get a comment.

11 MR. BAEZ: Online is Stephanie Tanner. Do you
12 have a comment, Stephanie?

13 MS. TANNER: Yes. This is Stephanie Tanner
14 from the EPA and WaterSense Program. Are you
15 considering including criteria for nozzles at all as
16 part of the Spray Sprinkler Bodies or just criteria for
17 the Spray Sprinkler Bodies?

18 And I see lots of comments in your
19 presentation about nozzles and things that are
20 controlled by a nozzle and other kinds of tests. And I
21 just -- just for clarity's sake, are you -- you know --
22 would all of those be included in your criteria, or
23 just things that control or are just related to the
24 bodies, and to the nozzle itself? Or you don't know
25 yet?

1 MR. STEFFENSEN: Thank you, Stephanie. That's
2 a good question. Where we are at, at a very early
3 stage of this Pre-Rulemaking. We're trying to gather
4 as much information as we can to look for as many
5 opportunities that there are with this line of
6 products.

7 We know that in the definitions of ASABE there
8 are not nozzles included; they're specifically excluded
9 from the Spray Sprinkler Body as far as part of that
10 mechanism. So if we were to strictly keep with just
11 Spray Sprinkler Bodies the nozzle would not be
12 considered. So but yeah, we're --

13 MS. TANNER: Okay.

14 MR. STEFFENSEN: -- we're gathering
15 information. We're seeing what's out there for either
16 a rulemaking that could occur next or after in a
17 subsequent rulemaking. So we're -- as we gather all of
18 the spray --

19 MS. TANNER: Okay.

20 MR. STEFFENSEN: -- group of stakeholders
21 together we're just casting as wide a net as we can.

22 MS. TANNER: Okay.

23 MR. STEFFENSEN: Thank you. Any additional
24 comments?

25 MR. OSANN: Sean?

1 MR. STEFFENSEN: Yes.

2 MR. OSANN: Ed Osann, with NRDC. I think that
3 nozzles is a component that would be good to come back
4 to when a bit more work has been done with the product
5 and with the test procedures. I think the Commission
6 would be wise to focus on Spray Sprinkler Bodies, per
7 se, and the performance and attributes of Spray
8 Sprinkler Bodies that can improve efficiency, such as
9 pressure regulation and low head check valves.

10 So I think the upshot is that high efficiency
11 nozzles would be addressed at some point in the future
12 in separate rulemaking.

13 MR. STEFFENSEN: Thank you. It does seem that
14 the devices are treated separately in the test
15 procedures than what's out there, and they are somewhat
16 studied differently as two separate efforts that we can
17 see from the U.S. EPA's work on these devices. Thank
18 you for that comment, Ed.

19 MR. STEFFENSEN: Staff requested information
20 on how Spray Sprinkler Bodies are used. This
21 information we use to estimate water savings, as well
22 as evaluate cost-effectiveness. Staff notes the
23 information received from the commenters.

24 Staff notes that there are two methods to
25 estimate the duty cycles methods to be used. The first

1 method is to calculate the duty cycle based upon the
2 climate and the plants' water needs. How much water
3 does a plant need? How long should the device run?

4 That would indicate how much total water would
5 flow through the device. The other is to measure and
6 observe how people manage their irrigation systems.
7 What do they actually do per what they would know?

8 So it's taking a somewhat theoretical approach
9 to an observational approach. And we would be open to
10 understanding if there are other ways in which to study
11 how people use Spray Sprinkler Bodies, with the
12 ultimate goal of then understanding how much water
13 flows through a device.

14 Staff requests additional studies to provide
15 data as to the duty cycle SSBs. I would open it up to
16 the floor as to how we could estimate the water usage.
17 Okay. So I don't see any comments in the room. Are
18 there any comments online?

19 MODERATOR NELSON: Sean?

20 MR. STEFFENSEN: Oh, sorry.

21 MR. OSANN: This question is soliciting
22 information simply on irrigation, water use in
23 California. I believe that the Department of Water
24 Resources has made some estimates of total outdoor
25 water use.

1 I believe some of those estimates were
2 reflected in the report of the Independent Technical
3 Panel that was filed last May, May in 2016. So that
4 could be a reference.

5 MR. STEFFENSEN: Great. Thanks for the
6 comment. Are there additional comments in the room or
7 online? Okay. Moving on, the U.S. EPA and Cal IOUs
8 provided estimates of the performance of pressure
9 regulated SSB versus non-pressure regulated SSB.

10 The U.S. EPA estimates savings of about 11
11 percent. The project PRS, Pressure Regulation Study,
12 provided savings of up to 22 percent, depending upon
13 the input water pressure. Are there other estimates of
14 water savings due to water efficiency features? We'll
15 pause now to provide comment upon this item.

16 MR. PIKE: Hi. This is Ed Pike, with Energy
17 Solutions. And this is --

18 MS. LOPEZ: From the California IOUs?

19 MR. PIKE: -- representing the California
20 IOUs. And so we've been looking into that question and
21 it seems like the U.S. EPA WaterSense test data is a
22 really valuable source of information on how much the
23 flow rate does change with changes in inlet pressure.

24 And we've also been looking into the typical
25 inlet pressure in the State of California, and thank

1 CLCA for their cooperation in that endeavor. And I
2 think that'll help provide a picture for California
3 that's more specific to our state where we're likely
4 going to find that the inlet water pressure is higher
5 than the national average estimated by U.S. EPA
6 WaterSense, and that the potential water savings are
7 greater also.

8 MR. STEFFENSEN: Ed.

9 MR. OSANN: I'd just note that we provided for
10 the record a review of the information filed by
11 California urban water suppliers with the Department of
12 Water Resources that included average system pressure,
13 and we've provided to the Commission a citation to that
14 database, as well as a summary of the population-
15 weighted average system water pressure for the water
16 suppliers in California.

17 MR. STEFFENSEN: Great. Thank you, Ed, for
18 providing that. Are there any comments online? Staff
19 seeks information as to the cost of SSBs and how costs
20 may vary with the incorporation of water-saving
21 features.

22 Staff received no comments. Staff performed
23 research on SSB pricing and found an incremental cost
24 of between \$2 and \$6 per SSB when pressure regulation
25 and/or check valves are included over those SSBs

1 without these features.

2 Staff seeks further information regarding the
3 incremental cost of pressure regulation and drain check
4 values, and other water-saving features. I'll open it
5 up to comments. Are there any comments online?

6 MR. STEFFENSEN: Staff requested information
7 as to the market penetration of water-saving features.
8 The U.S. EPA estimates less than 10 percent of
9 irrigation systems have pressure-regulated SSB. Staff
10 requests additional estimates of water penetration and
11 water-saving features. Other comments?

12 I guess just anecdotally, we're running an
13 informal survey upstairs, calling various contractors.
14 And one thing we're hearing is that as contractors
15 learn about pressure regulation and drain check valves
16 it seems that they are beginning to use those.

17 I don't know if that may fit better within a
18 trend, but that's something that's coming back from
19 some of the people that have contacted and participated
20 in our survey. So again, just looking for an estimate
21 of when we think a water-saving feature may be
22 incorporated into and installed in a irrigation system.

23 Any comments? Moving on. Staff received
24 comments identifying the manufacturers of Spray
25 Sprinkler Bodies, as well as information regarding the

1 specialties of some manufacturers. Are there other
2 manufacturers of Spray Sprinkler Bodies besides those
3 listed?

4 Are there other characteristics Staff should
5 consider in developing a standard regarding these
6 manufacturers or the way the market may be organized?
7 Just open up to comments. No comments online? Slide
8 26.

9 The California IOUs commented that the supply
10 chain length of -- what is the length of time from when
11 an order is placed until delivery to a retailer, and
12 it's believed to be several months. This would be
13 important in setting an effective date as to how
14 quickly stock could be updated to meet a proposed
15 standard.

16 So we would look for comments upon this. The
17 distribution of Spray Sprinkler Bodies also varies,
18 depending upon if the SSB goes to a homeowner, to a
19 product distributor, to retail sales or to irrigation
20 contractors.

21 Are there other supply chain characteristics
22 Staff should consider in developing a standard?
23 Comments online? No. Small business are defined by
24 government code. Small businesses mean a business
25 activity that is both the following: independently

1 owned and operated, not dominate in a field of
2 operation, and there are some other characteristics and
3 details that I won't go into here.

4 But what we're looking for is who in a sense
5 could be affected by a regulation on Spray Sprinkler
6 Bodies, and how. So we did receive some comments that
7 irrigation distributors and retailers may be small
8 businesses.

9 Small business may also purchase irrigation
10 equipment. So we would seek comment as to what
11 additional types of small businesses may be affected by
12 a regulation regarding Spray Sprinkler Bodies. No
13 comments?

14 Staff seeks information to estimate the sales
15 of SSBs in California. No comments were received.
16 Staff estimates 21 million SSBs are sold per year in
17 California based upon a 10-year lifetime and 210
18 million installed base.

19 The estimation methodology and sources of
20 assumption are shown on the next slide, where I would
21 like to discuss and get feedback. So these
22 assumptions, very basically, are there's a study from
23 the CPUC that says that 72 percent of homes have an
24 automatic irrigation system.

25 Department of Finance, California Department

1 of Finance says there's about 8.1 million single family
2 homes in California. And looking at roughly the square
3 footage and trying to make assumption of how many SSBs
4 would be used to cover the average size irrigated area
5 per home, maybe 36 SSBs.

6 So again, very rough numbers to get a very
7 rough estimate of perhaps how many SSBs are in
8 California. So we take those numbers and multiply them
9 all together. We -- it yields about 210 million SSBs.
10 And this number's important because, of course, we want
11 to try to predict the sales.

12 We have to run an economic analysis. We have
13 to run an analysis on what the water savings would be.
14 So we look for comments as to how this estimate, either
15 the methodology, I mean, should I consider something
16 else in addition to those three numbers I just rolled
17 off?

18 Perhaps they should -- the calculations should
19 be done in a different way. So we're looking for those
20 kind of feedback to further refine the estimate. And
21 of course, the 10-year design life comes into play
22 because we want to estimate about how often somebody
23 would replace a spray sprinkler head. So that allows
24 us an estimate of the yearly sales.

25 Ed?

1 MR. OSANN: Ed Osann. And when you see these
2 estimates on this slide, this is slide 30, actually,
3 it's 30 on the handout and 29 on the screen in the
4 room, I take it these are for single-family homes?

5 MR. STEFFENSEN: Yes.

6 MR. OSANN: So multi-family and commercial
7 applications would be in addition to those?

8 MR. STEFFENSEN: Yeah. That would be
9 something -- notice, that we're not limiting the scope
10 of the regulation to a residential application, but to
11 try to bound or provide a rough number or a magnitude
12 estimate of Spray Sprinkler Bodies.

13 That was what this effort went to. That's a
14 good point, to say that there probably are more than --

15 MR. OSANN: More.

16 MR. STEFFENSEN: -- more than these, yes.

17 MR. OSANN: More, for sure.

18 MR. STEFFENSEN: Yes. Any comments online?
19 So now, I'd like to open it up to any additional
20 discussion topics. We are running somewhat ahead of
21 schedule. I mean, I would say we could probably open
22 up to as much as five minutes or, I mean, as long as
23 you may need, perhaps. Anyone would like to make some
24 general comments?

25 MS. ANDERSON: So Mary Anderson, representing

1 the California IOUs. The California IOUs proudly
2 support the Energy Commission Staff efforts to develop
3 Title 20 Standards for Spray Sprinkler Bodies
4 consistent with the direction provided by the
5 California legislation.

6 We have been collaborating with the Energy
7 Commission to evaluate potential options for Spray
8 Sprinkler Bodies since 2015, and we look forward to
9 finalizing this rule-making and enacting a standard for
10 California.

11 MR. STEFFENSEN: Thank you. Yes.

12 MR. OSANN: This is Ed Osann and NRDC. Just a
13 few comments regarding what might be considered open
14 questions yet that remain with regard to the WaterSense
15 specification, and how that might be reflected on or
16 distinguished from what we're doing here, what the
17 Commission is intending to do here with this
18 regulation.

19 In the WaterSense draft specification the
20 level of variation between the flow at recommended
21 pressure and the flow at maximum pressure is proposed
22 to be 15 percent. We think that may be a little bit
23 higher than necessary.

24 We think a little bit lower number might be a
25 better fit with the test data that was actually

1 obtained by WaterSense. Perhaps 12 percent would be a
2 better fit. We also would draw attention to the
3 somewhat counterintuitive phenomenon that the maximum
4 flow was not always found to be at the maximum test
5 pressure.

6 And so a performance criteria that lists the
7 greatest amount of permissible variation should
8 probably be directed to any test of pressure, rather
9 than simply the maximum test of pressure, which was
10 stated in the draft.

11 There's also a question about the flow rates
12 at which the tests are to be conducted with WaterSense
13 proposing a flow rate of 1.5 gallons per minute as the
14 base flows. The Commission has sought two flow rates,
15 two additional flow rates, and others who commented on
16 the WaterSense specification supported at least one
17 additional flow rate, in addition to 1.5 GPM.

18 We think that probably does make sense, to
19 test an additional flow rate, probably a lower flow
20 rate. And there is I think still an open question
21 about the required accuracy and the documentation of
22 calibration of testing equipment, as per the University
23 of Florida, who think that greater accuracy in testing
24 is both possible and desirable with this flow-based
25 performance criteria that has been outlined by

1 WaterSense.

2 So I think these are all considerations for
3 the Commission here, and some of these will be probably
4 finalized by WaterSense in the months ahead, and the
5 Commission can consider -- should carefully consider
6 these matters, as well.

7 MR. STEFFENSEN: Anymore comments? Comments
8 online? Oh, hi.

9 MR. PIKE: Hi. Ed Pike, in our positions
10 representing California IOUs and -- okay, switching my
11 microphone. So I just wanted to point out that it's --
12 I think it's great that you're undertaking this
13 process.

14 Obviously, you're kind of at the beginning of
15 the process. One thing that really is beneficial here
16 is that I think there is a good amount of data to show
17 that these standards, potential standards that you're
18 considering are cost-effective.

19 They are feasible. They save significant
20 amounts of water based on the testing done by U.S. EPA;
21 other sorts of studies. So I think that definitely
22 does show that you are headed in the right direction,
23 and in looking at the market it seems like the major
24 manufacturers all offer a product with this feature.

25 So you know, it should be very practical to

1 achieve the potential savings from this product
2 category. So again, it definitely seems like CEC's
3 headed in the right direction here.

4 MR. STEFFENSEN: Thank you. Comments online?
5 Okay. So we'll go over some next steps. The
6 Commission will request proposals for SSBs for
7 Efficiency Standards, tell us what's in scope, what the
8 test procedure ought to be, what the standard ought to
9 be. Provide reasons and rationale.

10 There'll be an invitation to submit proposals,
11 a webinar on August 1st, 2017, and that'll explain the
12 process and the template. The proposals may be
13 submitted until September 1st, 2017, and you may
14 address comments to me, Sean Steffensen.

15 Additional comments on this topic may be
16 submitted to the Commission Docket 17-AAER-08. And
17 again, a reminder as to where we're at in the process.
18 We're early. We're here to listen to stakeholders, to
19 gather all the best ideas and proposals to make a
20 water-saving regulation in California.

21 I'll end here with my contact information, and
22 then, again, there are end notes here that show the
23 various studies and other items I relied upon in
24 developing the slides, as well as the estimates, very -
25 - more detailed map, presentation, or the estimate I've

1 tried to make for sprinklers in California.

2 So I'll end here and invite Ryan back to the
3 podium. Thank you for your time today.

4 MODERATOR NELSON: Thank you, Sean. We'll
5 take a 10-minute break, come back and serve up
6 Irrigation Controllers.

7 (Recess at 2:00 p.m., until 2:14 p.m.)

8 MODERATOR NELSON: Okay. This is our last
9 session of the days. For those just joining us, we're
10 going to go through the introduction again. This last
11 session will be on the Irrigation Controllers.

12 I don't think we have anybody new in the room,
13 but just in case we do, we're going to cover it. Use
14 the front exit of the building that you -- entrance
15 that you came in through today for normal egress.

16 If there's an emergency use either one, the
17 right or the left. If you use the right, other than
18 that the alarm will sound. If there is an emergency
19 we'll meet at the park across the way. Restrooms are
20 located out in the lobby directly to your right, and if
21 you need a snack there is a cafeteria upstairs on the
22 second floor, just at the top of the stairs.

23 Throughout the presentation this afternoon
24 after each topic we'll have a discussion period.
25 Please limit your comments to five minutes per person.

1 If you're in the room, again, please push the button on
2 the mic.

3 The mic will light up red, indicating that it
4 is on. If you're online, use the raise your hand
5 function and your name will be called. Please,
6 everybody, please say your name and the organization
7 you're with so that we can document your comments.

8 If you're having difficulties online, please
9 use the Chatbox and we will attempt to get to your
10 comment the best we can. One other thing, if --
11 everything said today is in the public record. If you
12 want to submit something that's confidential, please
13 contact Staff directly.

14 We have a process here at the Energy
15 Commission for confidential information. Please be
16 aware that anything supporting the rulemaking process
17 and developing a standard would need to be in the
18 public record. So we would have to aggregate that data
19 or information in some way that we could make it
20 publicly available.

21 But again, if you have confidential
22 information, please contact us directly and we will
23 start the process for working with you. Thank you.
24 Sean, you want to come take the -- I'll hand it over to
25 Sean to cover this flow chart once again.

1 MR. STEFFENSEN: Hello. Sean Steffensen,
2 Energy Commission. The flow chart addresses why we
3 request the information and how we plan to use it. We
4 need the information to define the problem, in this
5 case an inefficiency.

6 The information provided helps us then to
7 define a solution. The scope and definitions provide
8 the "what" of what will be included in the standard.
9 How do we know what will and will not be subject to the
10 regulation?

11 The Efficiency Metric provides the measure by
12 which we can rank the performance of the individual
13 products. There could be more than one efficiency
14 metric to consider. One or more may be chosen to
15 develop the standard.

16 The test method defines the conditions under
17 which the appliance is tested. Test data identifies
18 the relative performance among products and allows
19 consideration of a standard. Once these items are
20 selected, scope, definition, test method, test data and
21 standard, then analysis must be performed to understand
22 the effect of the proposed standard.

23 Does the standard achieve the goals of
24 significant water and energy savings, while being cost-
25 effective and technically feasible? If so, then it is

1 a good standard. If not, then we should reconsider the
2 data and modify the standard to meet the criteria.

3 Thank you.

4 MODERATOR NELSON: Thank you, Sean. The next
5 slide shows a diagram of the Public Participation and
6 Rulemaking Process. We're currently where the blue
7 arrow is indicating, vetting information collected
8 during the invitation to participate, and I thank you
9 all for joining us and hopefully staying for the rest
10 of this process.

11 Good afternoon. My name is Ryan Nelson. I'm
12 an engineer with the Appliance Outreach and Education
13 Office here at the Energy Commission. This afternoon I
14 will be discussing the results of the invitation to
15 participate for Irrigation Controllers as Phase 2 of
16 the Pre-Rulemaking Process.

17 I encourage your comments and questions to
18 further the conversation. There may be some questions
19 that require additional time to answer appropriately,
20 but please feel free to speak freely and comment
21 throughout the presentation of the discussion points.

22 Today's Agenda will discuss the purpose, what
23 information was requested as part of the ITP responses
24 to the Request for Information. We'll have a time for
25 general comments and then we'll cover the next steps in

1 the rulemaking process.

2 On March 14th, 2012, the Energy Commission
3 issued an Order Instituting Rulemaking to consider
4 standards, test procedures and labeling requirements
5 for appliances. Staff held the Invitation to
6 Participate Workshop on May 11th, 2017, to request
7 information that will shape the Commission's Phase 2
8 Standards.

9 Today, we will discuss responses submitted
10 during the comment period that closed on June 16th,
11 2017. Even though the comment period has ended, if you
12 have additional information that you would like to
13 submit, please feel free to do so today or to the
14 Docket and we will do our best to consider that
15 information.

16 During the Invitation to Participate we
17 requested information on the following topics, and we
18 will be discussing the one highlighted in blue below,
19 Irrigation Controllers. I'd like to thank everyone who
20 did respond to the Invitation to Participate, the
21 California Investor Owned Utilities Codes and Standards
22 Enhancement Team, or California CASE Team, the U.S.
23 Environmental Protection Agency, or USEPA, Hunter
24 Industries and the Irrigation Association Smart Water
25 Application Technologies, or IA SWAT for short.

1 Below is a list of information that -- topics
2 that we requested information on and we will be
3 covering hopefully each of these today throughout the
4 presentation. Okay. Product definition and scope,
5 information requested.

6 How should products be defined or
7 differentiated? What would be the scope for a water
8 efficiency standard and what would the scope of a
9 energy efficient -- what'd be the scope of a energy
10 efficiency standard?

11 Definitions received were for weather-based
12 irrigation controllers, soil moisture sensor-based
13 irrigation controllers, traditional irrigation
14 controllers, time clock, add-on ring, shutoff sensors
15 and battery-operated controllers, which are similar to
16 traditional time clock controllers. They just operate
17 on batteries.

18 Discussion. Are there any other references
19 that define irrigation controllers, other than those
20 previously listed? What irrigation controllers should
21 be included in the scope of a possible standard? How
22 should a standard be structured or implemented? Any --
23 and time for additional comments, and I'll open it up
24 for discussion.

25 Anybody like to make a comment? Okay.

1 Nothing in the room. Anything online, Carlos?

2 MS. URIGWE: Hi.

3 MODERATOR NELSON: Yeah, Daniela Urigwe, from
4 Energy Solutions, on behalf of the California IOUs
5 Team. So we think that -- think the Irrigation
6 Controllers are a good product for standards of the
7 Energy Commission, and we think that they could
8 potentially be regulated in two stages.

9 So the first phase could include requirements
10 for traditional Irrigation Controllers, those that
11 don't currently have water-saving features, such as the
12 traditional time clock. And the requirement could be
13 to package those with a rain shutoff sensor and other
14 features, such as being capable of accommodating water
15 restrictions and meeting standby power limits.

16 And then once appropriate test procedures are
17 available, second phase could require weather-based or
18 soil moisture sensor-based Irrigation Controllers to be
19 tested and meet performance standards based on those
20 procedures and also meet standby power limits.

21 And then after that point, controllers without
22 these water-saving features would not be included in
23 allowable products.

24 MODERATOR NELSON: Thank you. Is there
25 anybody else in the room or online?

1 MR. OSANN: Yeah.

2 MODERATOR NELSON: Ed, go ahead.

3 MR. OSANN: Yeah. Ed Osann, NRDC. We support
4 the adoption of both energy and water efficiency
5 standards for Irrigation Controllers, and appreciate
6 the initiation of this rulemaking by the Commission.

7 Standby power consumption is fairly
8 significant for this product. It may represent a large
9 fraction of total power consumption, and for smart
10 controllers there are likely to be several operational
11 modes to be considered, somewhat like a set top box
12 where there's actually a range between full
13 functionality and completely off, but one or more
14 interim operation modes to be considered.

15 In our view, a two-stage standard could
16 possibly work if the first phase is confined to timer-
17 based controllers, which are still probably the
18 majority of sales in California. Timer-based
19 controller -- a timer-based controller standard could
20 address rain shutoff requirements, water restriction
21 settings so that the operation of the controllers are
22 more compatible with local irrigation requirements, and
23 as noted, the standup, standby power requirement.

24 But phasing alone may not resolve the barriers
25 to setting standards for smart controllers, and we can

1 talk more about that a little bit further through your
2 presentation.

3 MODERATOR NELSON: Thank you. The next topic
4 we requested information on pertains to existing test
5 procedures and test procedures under development. Our
6 questions there, existing test procedures submitted for
7 the IA SWAT Turf and Landscape Irrigation System Smart
8 Controllers, Climatologically-Based Controllers Eighth
9 Testing Protocol, September 2008. Okay. Got through
10 that one.

11 IA SWAT Turf Landscape Irrigation Equipment
12 Rainfall Shutoff Devices, Testing Protocol Version 3.0,
13 October 2008; the IA SWAT Turf Grass Landscape
14 Irrigation System Smart Controllers Soil Moisture
15 Sensor-Based Controllers, Laboratory and Operational
16 Tests, Version 3.0, August 2011, and the USEPA
17 WaterSense Specification for Water-Based Controllers,
18 Version 1.0.

19 Under development, the Irrigation Association
20 -- American Association -- Sorry -- the ASABE -- is
21 that it -- American Society of Agricultural and
22 Biological Engineers, ASABE, S627 is a new test
23 procedure under development for weather-based and rain
24 sensor shutoff controllers.

25 This is supposed to be a little more stringer

1 test procedure, and the IA ASABE is currently working
2 on a new soil moisture sensor test procedure, and my
3 understanding is as submitted it is currently in the
4 beta testing.

5 On the Irrigation Association SWAT website
6 product test results listed, two for rain sensors, nine
7 for soil moisture sensors, Phase 1, and six weather-
8 based sensors. Okay. So we're going to open it up for
9 discussion.

10 I'm curious, the Energy Commission's curious
11 if there are any test results available for the new IA
12 ASABE S627 test procedure, and if there are, please
13 submit those if possible. Are there test results
14 available for new soil moisture sensor test procedure?

15 Are there any test procedures in development
16 to measure standby active and standby passive power
17 consumption for Irrigation Controllers? And then we
18 would open it up for additional comments at the end.
19 Take comments from the room first. Ed?

20 MR. OSANN: Could you go back two slides where
21 you have the two test procedures under development?
22 Yeah. Just to keep these straight, the first one
23 relating to upgrading the test procedure originally
24 developed by SWAT and large incorporated into the
25 WaterSense climate-based controller specification, that

1 work is really well underway and I believe that test
2 sites have been identified and contracted for to do
3 field-testing, beginning even later this month.

4 So results are expected early in the fall, and
5 I believe this final text of this standard is expected
6 to be available before the end of the year.

7 MODERATOR NELSON: And you're referring to the
8 S627?

9 MR. OSANN: Yes, the -- yes, the new test
10 procedure for weather-based controllers, which is being
11 proposed as a -- through the ANSI -- as an ANSI
12 Standard. So good progress there, very good progress
13 there, I think, to report.

14 With regard to the test procedure for
15 measuring soil moisture-based sensors, I'd just observe
16 that this has been underway for some time. The process
17 has been marked by slow progress and predicted
18 completion dates that have not been realized.

19 I believe there is going to be a published
20 report of some sort available this summer. Whether
21 that is for a -- at a clear junction of completed
22 testing or simply the end of financing that carried on
23 the current, you know, round of work, I'm not sure.

24 I think this is a case where the Commission,
25 with its statutory mandate under AB 1929, really would

1 be well-served to engage all the participants and
2 interested parties to develop a work plan, time line
3 and associated resource needs for the timely
4 publication of a test method for soil moisture sensor-
5 based controllers that will allow the Commission to
6 meet its statutory target.

7 Our recommendation would be for the Commission
8 to be proactive here, really engage the stakeholders
9 and to identify the resources that will be needed to
10 complete this work. Those working in the field believe
11 that the test procedure that has been identified
12 tentatively is a relatively good one, and those who
13 work in the field are quite optimistic about the role
14 and functionality generally of soil moisture-based
15 controllers.

16 But clearly, we can't move forward towards a
17 standard without a published test procedure. So this
18 is the knot that has to be untied here and we recommend
19 that the Commission be proactive in addressing it.

20 MODERATOR NELSON: Thank you. I believe we
21 have a comment online.

22 MR. BAEZ: Yeah. Online we have a hand raised
23 from Katharine Dayem. Did you have a comment,
24 Katharine.

25 MS. DAYEM: Yes. Can you hear me?

1 MR. BAEZ: Yeah, we can hear you.

2 MS. DAYEM: Okay. Great. So this is
3 Katharine Dayem, of Xergy Consulting, on behalf of the
4 California IOUs. This is just a comment about a test
5 procedure for Xergy. There is a procedure to measure
6 standby power. It's the IGU Basic *17:16:58 seven.

7 And we find that the test procedure is
8 sufficient for measuring standby power, once a device
9 is actually setup and ready to be tested. What we find
10 lacking in this test procedure is setup instructions
11 for things like network connections or sensors.

12 So we see the need to develop those
13 instructions so that all the Irrigation Controllers are
14 tested under the same conditions. As far as active
15 mode test procedures, we don't know that these --
16 Irrigation Controllers.

17 MODERATOR NELSON: Thank you. I believe we
18 have one more online, Carlos?

19 MR. BAEZ: Yeah, another hand raised from
20 Joanna Kind. Do you have a comment, Joanna?

21 MS. KIND: Yes, I do. My name is Joanna Kind.
22 I work with the Eastern Research Group as a contractor
23 to WaterSense, and I just wanted to address the IA ASFE
24 *17:18:07 electric test procedure. I agree it has been
25 a very long process.

1 I am currently involved in and am sitting in
2 with that group while they're working toward a test
3 method. I did want to let everyone know, in the room
4 and online, that I think it's very close to being a
5 complete test method.

6 I still think there's a little bit more work
7 to do. Quite a few products have been tested using
8 that test method. So I think it's close. It is not
9 quite there, but it has been a couple years since the
10 group has gotten together, but they have made a lot of
11 progress.

12 MODERATOR NELSON: Great. Thank you. Nobody
13 else in the room or online? Great. Thank you for all
14 your comments. This is very helpful. All the
15 information collected is vital to our rulemaking
16 process, as Sean pointed out earlier in the flowchart
17 to collecting the data and coming up, eventually,
18 hopefully with a standard.

19 We're going to move back several slide. No
20 other comments on existing test procedures. We move on
21 to product lifetime. California IOU Case Team
22 submitted an estimate of effective useful life, or EUL
23 for Irrigation Controllers is 11 years.

24 That's the only comment that we received
25 regarding EUL. So we're going to open it up for

1 discussion. Is 11 years reasonable for the EUL of a
2 controller? What is the EUL for the soil moisture
3 sensor?

4 What is the EUL for a rain shutoff sensor and
5 what is the EUL for onsite weather stations, all
6 components of these types of systems that we're
7 discussing today. I'll take comments from the room
8 first, and then online.

9 Okay. Nothing from the room. Carlos,
10 anything online? No? So this information, if there is
11 information available please submit it. EUL lifetime
12 goes into our cost-effectiveness calculations and
13 determination. So it's very vital that we receive
14 information regarding this topic.

15 Product development trends and operations.
16 Question asked, in the ITP are there new technologies
17 coming to market. Examples given were wireless soil
18 sensors and new -- or new types of controllers,
19 possibly combinations of some of the existing types
20 that we've discussed already.

21 The general comment made during the process is
22 that Irrigation Controllers are advancing
23 technologically by utilizing weather data, onsite soil
24 moisture data and rain shutoff sensors. Staff has
25 found online, new wireless soil moisture sensors are

1 coming to market.

2 We would be interested in additional
3 information regarding wireless technologies or anything
4 in general in new product trends. So we're going to
5 open it up for discussion on this topic. Are there
6 product developments that would increase water savings?

7 Are there product developments that would
8 increase energy savings? And are there test results
9 and research available for the new wireless soil
10 moisture sensors that are coming to market? I'll open
11 it up to the room first. Okay. And Carlos, nobody?

12 Our next topic, energy-consuming features and
13 energy-saving features and technologies. Information
14 requested, what features or options consume the most
15 energy, low power mode and standby mode, for example,
16 or active power mode consumption.

17 Are there any other energy-saving features or
18 technologies? The California IOU CASE Team submitted
19 information stating that reviewed studies showed
20 standby power range from anywhere from one watt to
21 eight watts.

22 A Staff observation is that there are many
23 consumer products on the market that have a standby
24 power draw of one watt or less. Just observations that
25 they're getting that there may be room to move in this

1 direction. Any comment -- let's see here.

2 So we're going to open it up for discussion.
3 What are the opportunities for reducing standby energy
4 consumption for Irrigation Controllers, or any other
5 topic regarding energy-consuming features? Nothing
6 from the room. Or online, Carlos?

7 MR. BAEZ: We're moving right along.

8 MODERATOR NELSON: Market characteristics.
9 What are the yearly shipments to California? How many
10 small businesses are involved in the manufacturing,
11 sale or installation of these products? This is
12 information that was requested during the ITP.

13 California IOU CASE Team submitted information
14 regarding market characteristics. They stated that
15 there are 18 weather-based controller manufacturers as
16 of the time that they submitted information.

17 Currently, the WaterSense specification for
18 2011 has resulted, as you can see throughout the years,
19 in over 400 labeled products as of 2017. This is
20 according to their website currently. The USEPA
21 WaterSense estimated 13.5 million residential law
22 irrigation systems in the U.S. from 2005.

23 And industry estimates 10 percent use weather-
24 based controllers to schedule irrigation. That was
25 from 2011. In comparison, the Staff's stock

1 calculation, similar to the information that Sean
2 presented earlier, the California Department of Finance
3 shows that there are roughly 8 million homes.

4 Assuming from CAL MAC that that 72 percent
5 included automatic irrigation, that would be 5.8
6 million roughly homes in California using automatic
7 irrigation. So in comparison to the 13.5 million
8 nationwide from WaterSense, we're looking for
9 information on what number is more accurate or could be
10 more valuable in this process.

11 Effects on small business in California.
12 California IOU CASE Team. In addition to large
13 manufacturers and distributors, small irrigation
14 contractor businesses also play a role in the market,
15 as these companies often provide the product end-use
16 consumers.

17 We're going to be looking for information
18 regarding small businesses and how any possible
19 WaterSense -- water efficiency or energy efficiency
20 standard could affect these products in those small
21 businesses. Is that clicking getting worse?

22 MS. ANDERSON: It goes -- gets better and
23 worse, I think.

24 MODERATOR NELSON: Okay. So we're going to
25 open it up for discussion, then. WaterSense had

1 submitted a supplemental -- their summary statement
2 supporting their process of 13.5 million systems
3 nationwide. Would it be reasonable for California to
4 assume, based on population, 12 percent of those
5 systems are based in California?

6 And does the Staff calculation of
7 approximately 5.8 million irrigation systems installed
8 in California a reasonable value? We'll open it up for
9 discussion. We'll take comments from the room first.

10 MR. PIKE: Hi. Ed Pike, with Energy
11 Solutions, on behalf of California IOU CASE Team. And
12 so the numbers that you're showing in the slide are
13 based on data for a national survey that was done a
14 number of years ago.

15 And we also saw this number and we wanted to
16 know why that number seemed so different for the
17 national survey, compared to the value you showed
18 previously for California. So we obtained the micro
19 data and we found that the picture for California is
20 vastly different than any regions in the country.

21 It's broken down into tiers of I think 10
22 regions. When we looked at them it had less than --
23 they were like single-digit percentage of homes had an
24 automatic irrigation system. And in California our
25 initial estimate is it was somewhere upwards of half of

1 homes did have irrigation systems.

2 And further looking into how the question was
3 structured, our understanding is the question was only
4 asked of detached, single-family homes. So if you
5 answered that you were not in that type of housing, you
6 were not even asked the question.

7 And so but 13.5 million nationwide would not
8 include all systems, but only those of households
9 asked, and I think it was 2005 for single-family. So
10 the national number will increase due to population
11 growth, and looking at those others types of housing.

12 So it seems like there is an explanation for
13 the difference between this value and the value that
14 you had previously that's more specific to California.

15 MODERATOR NELSON: Thank you, Ed. And yeah,
16 to reiterate, that was the number I showed as a Staff
17 calculation was based on the Department of Finance
18 single-family homes in California. So it doesn't
19 include any other automatic irrigation systems
20 throughout the state. So that number may be higher.

21 We would look forward to some one submitting
22 information or commenting in that regard. We have one
23 question and one comment online.

24 MR. BAEZ: Joanna, did you want to comment?

25 MS. KIND: Yes. Yes. This is Joanna again

1 with ERG and EPA and WaterSense Program. I was just
2 going to say exactly what Ed said, in that that survey
3 was conducted in 2005. It was from the Residential
4 Energy Consumption Survey.

5 So that number is dated and I think that does
6 explain a lot of the discrepancy that you're seeing
7 there.

8 MODERATOR NELSON: Great. Thank you. Any
9 other comments? Initial discussion topics for market
10 characteristics, if possible, if you have information,
11 what is a reasonable estimate for current installations
12 of each type of irrigation controllers or timers.

13 So total installations in California; how much
14 of each type are sold in California each year? For
15 weather-based, soil moisture sensor, time clock, rain,
16 automatic rain shutoff. Any comments regarding that in
17 the room or online? I'll give it a second. No? Okay.

18 Costs. Our next topic we'll be covering
19 costs. During the *17:29:28 we requested information,
20 what -- regarding what are the retail costs per unit,
21 and how do costs vary and what are the incremental
22 differences.

23 For example, number of zones controlled,
24 sensor inputs, number of sensors included with the
25 controller, add-on sensors, weather stations, power

1 supplies and communication, wifi, Ethernet, radio or
2 cellular.

3 Information submitted. The USEPA WaterSense
4 Program in their information submitted to the Docket
5 costs totaling \$240 per unit. That data is from 2011.
6 Staff research just recently has shown that there are
7 WaterSense labeled controllers for as low as \$36 on the
8 market.

9 We'll open it up for discussion. Staff is
10 interested in reliable cost data for Irrigation
11 Controllers.

12 MR. SILVA: Hi. David Silva, from the
13 California Landscape Contractors Association. I have a
14 question. Has any of this information been submitted
15 by the manufacturers of the Irrigation Controllers?

16 MODERATOR NELSON: No, not to date. Those who
17 responded were, we've mentioned earlier, previously,
18 was the California IOU CASE Team, Irrigation
19 Association. Let me go back to that slide so I don't
20 miss anybody.

21 Well, it's all the way at the beginning. Here
22 we go. The only industry representative that did
23 submit to the Docket were Hunter Industries and it did
24 not regard cost. They submitted looking at the IA SWAT
25 test procedures as a starting point for test procedures

1 and standards.

2 MR. SILVA: Okay. Thank you.

3 MODERATOR NELSON: Thank you. So no comments
4 regarding costs of the Irrigation Controllers in the
5 room or online. Okay. That concludes the
6 presentation. I'll open it up to general comments if
7 anybody would like to make a general comment regarding
8 Irrigation Controllers.

9 We'll take comments from the room first and
10 then we'll go online. We have one online right now.
11 So we'll take that comment.

12 MS. KIND: Hi, there. This is Joanna again
13 with ERG, contractor for WaterSense. I just -- I
14 wanted to comment on the cost section. You had on your
15 slide the prices have gone down significantly. Those
16 were data that we gathered in development of the
17 specification, which I think was 2011.

18 So the costs were prior to that, and since
19 then many more products have come on the market, and
20 several of them are much more inexpensive. So I think
21 what we are seeing there, I don't think \$36 is common,
22 but it does exist. And I think there are a lot of
23 controllers for around \$100 now.

24 MODERATOR NELSON: Great. Thank you. That's
25 why I put \$36. That was the least expensive one that I

1 did find, but hopefully, it will develop more
2 discussion or submission of information regarding cost.
3 Any other comments in the room? Mary?

4 MS. ANDERSON: Yes. This is Mary Anderson,
5 from the California IOUs. We strongly support the
6 Energy Commission's efforts to develop standards for
7 Irrigation Controllers. We've been working on this for
8 the last few years and believe this is an important
9 component to be able to deal with potential water
10 shortages that the state has faced and could continue
11 to face, and we look forward to working with the Energy
12 Commission on this measure.

13 MODERATOR NELSON: Thank you, Mary. And one
14 more from the room.

15 MS. URIGWE: Hi. This is Daniela Urigwe, on
16 behalf of the California IOUs again. We didn't touch
17 on savings too much in this presentation, but I just
18 wanted to call out a study done by LBNL in 2014, where
19 they looked at -- they took a little *17:33:50 review
20 of the different savings estimates available for
21 Irrigation Controllers and found that Irrigation
22 Controllers with water-saving features, such as
23 weather-based sensors or soil moisture sensors or
24 *17:34:07 sensors has been estimate to reduce
25 irrigation water use by between 15 and 35 percent.

1 So usually there is a significant water
2 savings opportunity with this product, and we support
3 pairing that with the standby power standard to offset
4 any energy use by these water-saving features.

5 MODERATOR NELSON: Thank you. If there aren't
6 any other -- oh, one more. Ed.

7 MR. OSANN: Yeah. Ed Osann with NRDC. I
8 notice that in the presentation on Spray Sprinkler
9 Bodies the Commission -- the Staff concluded with a
10 invitation to submit proposals by a date certain.

11 MODERATOR NELSON: Yes.

12 MR. OSANN: If the -- point out that if the
13 Commission Staff finds the staged approach to setting a
14 standard for this product to be attractive, might we
15 see a request for proposals for a standard confined to
16 timer-based controllers in a time frame that would be
17 at all predictable, like later this fall or?

18 MODERATOR NELSON: Yes.

19 MR. OSANN: Any thoughts about that?

20 MODERATOR NELSON: The next step is the
21 Invitation to Submit Proposals, as you mentioned. Just
22 stepping back, Ed, the proposals will be due by
23 September 1st. That being said, we would accept all
24 proposals regarding this topic and evaluate them under
25 various energy savings and water savings.

1 So yes, the answer to your question is, we
2 would accept any proposal for evaluation and review.
3 And we encourage proposals regarding this topic. So
4 that leads us into the next steps. We've already
5 covered most of that.

6 The next step is the Invitation to Submit
7 Proposals. On August 1st we will have the webinar for
8 the ITSP, as we're calling it, and then proposals would
9 be due after that by September 1st, 5:00 p.m. The
10 template proposal can be found at this link, if you've
11 downloaded the presentation, which should all be online
12 at this time.

13 This is an updated proposal template. So if
14 you've used the one prior, please download the new
15 template and familiarize yourself with the template.
16 We will be covering that, and also a couple other items
17 on the August 1st presentation.

18 So again, we showed this slide earlier. This
19 is a diagram of the rulemaking process. We're
20 currently at the public workshop stage for the ITP, the
21 invitation to submit -- or Invitation to Participate,
22 excuse me, and next, we will invite you to submit
23 proposals and that'll be the next stage.

24 And I thank you for your attendance and your
25 comments. My information's here if you'd like to

1 contact me. The Docket for Irrigation Controllers is
2 17-AAER-10, and that will conclude our Workshops. I
3 welcome everybody back tomorrow. We have another
4 workshop. Oh, Ed has another comment. We will take
5 another comment.

6 MR. OSANN: Question. Are these presentations
7 now up on the website for these individual Dockets?

8 MODERATOR NELSON: Yes. All -- even
9 tomorrow's topics were docketed this morning, and I put
10 the request in to have them listed on the website. If
11 you don't see them on the website yet, please go to the
12 docket, and each presentation's in the docket.

13 Physically, you can find it in the docket. There's a
14 link to the presentation.

15 MR. STEFFENSEN: They're in the -5 docket
16 *17:38:00 --

17 MODERATOR NELSON: Yes. So that's a good
18 point. Thank you, Sean. There are many docket
19 numbers. Each topic or product has its own docket
20 number to submit your comments to. The main docket
21 number for this pre-rulemaking process where the CEC or
22 the Energy Commission is submitting or docketing
23 information is 17-AAER-05.

24 So if you're looking for information that
25 we're providing, look at the 05 docket. If you're

1 submitting information, all of the docket numbers are
2 listed on the website for each individual product to
3 help organize the comments and information provided.
4 Thank you.

5 And we look forward to seeing you here
6 tomorrow for Low Power and *17:38:42 Power Factors, Set
7 Top Boxes, Solar Inverters and GSL Lighting. That
8 concludes today's Workshop. Thank you.

9 (Off the Record at 2:55 p.m.)


10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 29th day of August, 2017.



PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 29th day of August, 2017.



Elizabeth Reid-Grigsby
Certified Transcriber
AAERT No. CET**D-145