

DOCKETED

Docket Number:	17-ALT-01
Project Title:	2018-2019 Investment Plan Update for the Alternative and Renewable Fuel and Vehicle Technology Program
TN #:	221836
Document Title:	Transcript of the 1172017 Advisory Committee Meeting and Public Workshop
Description:	ADVISORY COMMITTEE MEETING AND PUBLIC WORKSHOP ALTERNATIVE AND RENEWABLE FUEL AND VEHICLE TECHNOLOGY PROGRAM
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	11/20/2017 11:03:30 AM
Docketed Date:	11/20/2017

APPEARANCES

COMMISSIONER

Janea Scott, Commissioner

ENERGY COMMISSION STAFF

Jacob Orenberg, Project Manager

Patrick Brecht, Assistant Project Manager

John Y. Kato, Deputy Director, Fuels and Transportation
Division

Bill Kinney, Biofuels Unit, Fuels and Transportation
Division

Brian Fauble, Electric Vehicles Unit, Fuels and
Transportation Division

Tami Haas, Specialist, Fuels and Transportation Division

Jane Berner, Hydrogen Unit, Fuels and Transportation
Division

Jean Baronas, Supervisor, Hydrogen Unit, Fuels and
Transportation Division

Sarah Williams, Medium- & Heavy-Duty Vehicles Unit, Fuels
and Transportation Division

Andre Freeman, Supervisor, Medium- & Heavy-Duty Vehicles
Unit, Fuels and Transportation Division

Sam Lerman, Air Resources Engineer, Medium- & Heavy-Duty
Vehicles Unit, Fuels and Transportation Division

Larry Rillera, Program Implementation Unit, Fuels and
Transportation Division

APPEARANCES (CONT.)

ADVISORY COMMITTEE MEMBERS

Joy Alafia, Western Propane Gas Association

Shannon Baker-Branstetter, Consumers Union (WebEx)

Steve Cliff, California Air Resources Board

Peter Cooper, California Employment Training Panel

Tyson Eckerle, California Governor's Office of Business
and Economic Development

Joel Espino, Greenlining Institute

Casey Gallagher, Development Project Coordinator,
California Labor Federation

Joe Gershen, California Biodiesel Alliance

Brian Goldstein, Energy Independence Now

Ellen Greenberg, Deputy Director, Sustainability,
Caltrans

Irene Gutierrez, Natural Resources Defense Council

Bonnie Holmes-Gen, American Lung Association

Claire Jahns, California Natural Resources Agency

Stephen Kaffka, California Biomass Collaborative,
University of California at Davis

Ralph Knight, Consultant for Alternative-Fueled School
Buses

Thomas Lawson, California Natural Gas Vehicle Coalition

Jananne Sharpless, Member at Large

John Shears, Center for Energy Efficiency and Renewable
Technologies

Eileen Tutt, California Electric Transportation Coalition

APPEARANCES (CONT.)

PUBLIC MEMBERS

Linda Urata, Kern Council of Government (WebEx)

Ryan Schuchard, CALSTART

Dedrick Roper, ChargePoint

Steve Davis, Oxygen Initiatives

Jody London, Contra Costa County (WebEx)

Ed Pike, Energy Solutions (WebEx)

Ryan Kenney, Clean Energy

Bud Beebe, California Hydrogen Business Council

John Mikulin Cuen, United States Environmental Protection Agency

Urvi Nagrani, Motiv Power Systems (WebEx)

Jordan Miller, Center for Transportation and the Environment (WebEx)

AGENDA

	<u>Page</u>
Introductions and Opening Remarks	6
Overview of the 2018-2019 Investment Plan Update for the ARFVTP	10
Staff presentations on ARFVTP activities, Advisory Committee discussion on the Investment Plan Update, and public comment	62
Lunch Break	
Staff presentations on ARFVTP activities, Advisory Committee discussion on the Investment Plan Update, and public comment (continued)	113
Public Comments	284
Closing Remarks	288
Adjournment	289
Reporter's Certificate	290
Transcriber's Certificate	291

1 WebEx, as well. And also, members of the public.

2 So, welcome, glad to see everyone.

3 I want to go around the table here and do
4 introductions of our Advisory Committee members.
5 When we're done with that I will say a special
6 welcome to some new Advisory Committee members
7 that we have. And then, we'll turn it over to
8 Jacob Orenberg to kick us off.

9 So, as I mentioned I'm Janea Scott. I'm
10 the Lead Commissioner on Transportation here at
11 the Energy Commission.

12 And let's go this way.

13 MR. KATO: I'm John Kato, the Deputy
14 Director overseeing the Fuels and Transportation
15 Division.

16 MS. GREENBERG: Ellen Greenberg, Deputy
17 Director for Sustainability at Caltrans.

18 MS. GUTIERREZ: Irene Gutierrez with the
19 Natural Resources Defense Council and I'm a new
20 member of the Advisory Committee.

21 MS. TUTT: Eileen Tutt with the
22 California Electric Transportation Coalition.
23 I'm not a new member.

24 (Laughter)

25 MS. JAHNS: Claire Jahns, Assistant

1 Secretary for Climate Issues at the California
2 Natural Resources Agency.

3 MR. KNIGHT: Ralph Knight, Consultant
4 with School Bus Energy.

5 MR. ECKERLE: Tyson Eckerle, Deputy
6 Director for Zero-emission Vehicle Infrastructure
7 at the Governor's Office of Business and Economic
8 Development.

9 MS. SHARPLESS: Jan Sharpless, former Air
10 Board Chair and former Commissioner at the Energy
11 Commission.

12 MR. KAFFKA: Steve Kaffka, UC Davis and
13 California Biomass Collaborative.

14 MR. GERSHEN: Joe Gershen with Encore
15 Biorenewables and the California Biodiesel
16 Alliance.

17 MR. GALLAGHER: Casey Gallagher,
18 workforce segment I'm the Development Department
19 Project Coordinator for the California Labor
20 Federation.

21 MR. GOLDSTEIN: Good morning. Brian
22 Goldstein with Energy Independence Now.

23 MR. ESPINO: Good morning. Joel Espino,
24 Greenlining Institute, new member to the
25 Committee.

1 MS. ALAFIA: Joy Alafia, Western Propane
2 Gas Association, President and CEO.

3 COMMISSIONER SCOTT: And do we have
4 Advisory Committee Members on the WebEx? If so,
5 please go ahead and introduce yourself.

6 MS. BAKER-BRANSTETTER: Hi, this is
7 Shannon Baker-Branstetter with Consumers Union.

8 COMMISSIONER SCOTT: Good morning,
9 Shannon.

10 I believe that's the only member that we
11 thought would be on the WebEx.

12 Okay, good morning. I do want to just
13 extend a special welcome to our new members.
14 Some are here, some are not able to make it to
15 the meeting this morning.

16 But we will be joined by Matthew Barth,
17 from the University of California, Riverside.

18 Joel Espino, welcome, from the Greenlining
19 Institute.

20 Ellen Greenberg, welcome, from California
21 Department of Transportation.

22 Casey Gallagher, good morning and
23 welcome, from the California Labor Federation.

24 Steve Cliff from the California Air
25 Resources Board. Everything old is new again.

1 So, he used to be our Caltrans representative and
2 now he'll be our Air Resources Board
3 representative.

4 And also, Irene Gutierrez, good morning
5 and welcome, from NRDC.

6 So, we're really delighted to have you
7 all here. And with that I will turn the meeting
8 over to Jacob Orenberg.

9 MR. ORENBERG: Thank you, Commissioner.
10 And good morning, everyone. My name is Jacob
11 Orenberg and I'm the Project Manager for the
12 2018-2019 Investment Plan Update for the
13 Alternative and Renewable Fuel and Vehicle
14 Technology Program.

15 The purpose of today's workshop is to
16 discuss the recently released draft staff report
17 of the Investment Plan Update.

18 Before I begin, I do need to make some
19 general announcements, as follows: This workshop
20 is being recorded and the transcript will be made
21 available on the Energy Commission's website.

22 The restrooms and drinking fountains are
23 located out of the main door to this room and to
24 the left.

25 There's a café on the second-floor atrium

1 which sells coffee, sodas, snacks and some lunch
2 items.

3 Finally, in the unlikely event of an
4 emergency in which we need to evacuate the
5 building, please calmly and quickly follow Energy
6 Commission employees to the appropriate exits.
7 We will reconvene at Roosevelt Park, located
8 diagonally across the street from this building.

9 So, to start off, I'd also like to thank
10 all of our ARFVTP Advisory Committee Members for
11 their dedication in helping us to develop the
12 Investment Plan and the program and for
13 generously giving us their time and their
14 expertise for another year.

15 I'd also like to introduce Patrick Brecht
16 to everyone. He's sitting over here by the WebEx
17 podium. Patrick will be serving as the Assistant
18 Project Manager for the Investment Plan Update
19 this year.

20 One moment. Okay.

21 Our meeting today will follow the agenda
22 on this slide. Right now, we'll start the
23 presentation that will provide an overview of the
24 2018-2019 Investment Plan Update.

25 At 10:45 a.m. we'll move on to the

1 Advisory Committee discussion on each allocation.
2 And staff will be providing a brief overview of
3 the specific fuel or technology type before we
4 begin the discussion.

5 We'll also take public comment after the
6 Advisory Committee discussion of each allocation.

7 Since we do have a lot to cover today and
8 many interested stakeholders are present, we do
9 request that public comments are kept to three
10 minutes or less.

11 At noon we're planning to break for lunch
12 and reconvene an hour later at 1:00, at which
13 time we will continue the discussion.

14 Finally, we will have another period for
15 public comments at the end of the workshop.

16 To provide some context for the ARFVTP,
17 this slide shows some key statistics for the
18 California transportation sector. Statewide we
19 have over almost 29 million light-duty passenger
20 cars and trucks on the road, as well as nearly 1
21 million medium and heavy-duty trucks.

22 In 2015, California generated about 440
23 million metric tons of carbon dioxide equivalent
24 greenhouse gases and 39 percent of these
25 emissions were from the transportation sector.

1 In addition, many regions in California
2 struggle with poor air quality. Most notably
3 with the San Joaquin Valley and South Coast Air
4 Basins being the only two regions in the country
5 that are in severe nonattainment for Federal
6 Ozone Standards. And in 2016, the transportation
7 sector consumed 13.9 billion gallons of gasoline
8 and 3.3 billion gallons of diesel fuel.

9 Both the State of California and the
10 Federal Government have set numerous policies and
11 regulations to protect public health and
12 wellbeing, and the environment. These include
13 greenhouse gas emission reduction policies, air
14 quality regulations, petroleum reduction and
15 renewable fuel goals, and zero-emission vehicle
16 regulations.

17 The policies and regulations outlined on
18 this slide helped guide the development of the
19 Investment Plan and the funding allocation. And
20 in turn, the ARFVTP helps the State meet these
21 goals.

22 The ARFVTP was set up to develop and
23 deploy innovative technologies that transform
24 California's fuel and vehicle types to help
25 attain the aforementioned climate change

1 policies.

2 In addition, we have the complementary
3 goals of improving air quality, increasing
4 alternative fuel use, reducing petroleum
5 dependence and promoting economic development.

6 The ARFVTP was established by California
7 Assembly Bill 118 in the year 2007. The program
8 is funded through a small surcharge in California
9 vehicle registrations which gives us a budget of
10 up to \$100 million per year, depending on how
11 much is collected from the surcharge.

12 Originally, the program was scheduled to
13 end in 2016. However, California Assembly Bill 8
14 extended it through January 1st, 2024.

15 The Annual Investment Plan Update serves
16 as the basis for all solicitations, agreements,
17 and other funding opportunities for each fiscal
18 year.

19 The document is vetted through a public
20 review process that involves multiple iterations
21 of the document and meetings with our Advisory
22 Committee, one of which we're holding today.

23 Similar to the previous years' Investment
24 Plan, we do not anticipate a full \$100 million
25 allocation for fiscal year 2018-2019. Rather, we

1 expect to have a \$95.2 million allocation for
2 project funding.

3 The allocations described in the
4 Investment Plan are for general project
5 categories and provide an overview of the status
6 of the fuel or technology and its potential over
7 the coming fiscal year. The specific
8 requirements of what we'll ultimately fund are
9 determined by each funding solicitation and not
10 by the Investment Plan.

11 To date, the Energy Commission has
12 provided over \$745 million in funding through the
13 ARFVTP. About 25 percent of this has been
14 invested in biofuel production and distribution
15 projects. Another combined 36 percent has been
16 provided for electric charging infrastructure,
17 light-duty electric vehicle incentives, medium
18 and heavy-duty electric vehicle demonstrations,
19 and electric vehicle and component manufacturing.

20 Nineteen percent of the funding has gone
21 to hydrogen refueling infrastructure and vehicle
22 demonstration, 13 percent to natural gas fueling
23 infrastructure and vehicles, 1 percent to propane
24 vehicles, and the remaining 6 percent to projects
25 that either incorporate multiple fuel types or do

1 not address specific fuel types.

2 To demonstrate its commitment to
3 diversity, the Energy Commission adopted a
4 resolution during the April 2015 Business Meeting
5 to firmly commit to increasing the following:
6 The participation of women, minority, disabled
7 veteran, and LGBT business enterprises in program
8 funding opportunities, outreach to and
9 participation by disadvantaged communities,
10 diversity and participation at Energy Commission
11 proceedings, and diversity in employment and
12 promotional opportunities.

13 The Energy Commission is also committed
14 to taking steps toward broadening the pool of
15 applicants to our various programs, especially
16 under-represented groups, disadvantaged
17 communities, and small businesses.

18 Workshops such as these are part of a
19 continuing effort to encourage diversity and
20 participants for Energy Commission programs which
21 will help to ensure equitable access to Energy
22 Commission funding, creating jobs, and provide
23 economic stimulus in under-represented and
24 disadvantaged communities. Increase competition
25 to ensure the best opportunities are identified

1 and funded. And ensure that local needs are
2 identified and addressed.

3 The schedule that we expect to follow for
4 the 2018-2019 Investment Plan Update is outlined
5 on this slide.

6 We released the Draft Staff Report on
7 November 2nd and we're holding the first Advisory
8 Committee meeting today.

9 We will release the Revised Staff Report
10 by January 10th and hold a second Advisory
11 Committee meeting in late January or early
12 February.

13 After reviewing and incorporating
14 comments from that workshop, we expect to release
15 the Lead Commissioner Report in March and seek
16 Business Meeting approval for the final document
17 in April.

18 These are a few key considerations which
19 will have a notable impact on this Investment
20 Plan Update. In late September the California
21 Air Resources Board released their Draft Funding
22 Plan for Clean Transportation Incentives, which
23 includes funding from the Air Quality Improvement
24 Program, the Low Carbon Transportation
25 Investments, and other sources.

1 It proposes over \$660 million in
2 investments for alternative transportation
3 projects, including \$188 million for the Clean
4 Truck and Bus Vouchers, and \$190 million for
5 advanced freight equipment demonstration and
6 deployment projects.

7 In addition, the State is seeing a
8 substantial increase in the amount of funding
9 available for electric charging infrastructure,
10 with funding from the Volkswagen settlement and
11 the Investor-Owned Utilities now available. And
12 I will discuss this in more detail later in the
13 presentation.

14 Also noteworthy is the implementation of
15 Senate Bill 1383, of 2016, which requires a 40 to
16 50 percent reduction in the emissions of short-
17 lived climate pollutants by 2030.

18 We expect that the ARFVTP will be able to
19 contribute to these goals with low carbon fuel
20 production projects.

21 This slide shows the layout of the
22 Investment Plan, which is divided into chapters
23 based on the supply chain stage. The program
24 covers nearly the entire supply chain for
25 alternative fuels, from production to

1 distribution infrastructure, to vehicles.

2 The remainder of this presentation will
3 follow this outline, as well.

4 The first category in the Investment Plan
5 is Low Carbon Fuel Production and Supply, which
6 is an evolution of the previous year's Biofuel
7 Production and Supply Allocation.

8 We're proposing a \$25 million allocation
9 for fiscal year 2018-2019, which is about \$5
10 million more than last year.

11 This category is expected to provide
12 funding support for the production of
13 nonpetroleum diesel and gasoline substitutes,
14 such as biodiesel and ethanol, as well as for
15 renewable natural gas and renewable hydrogen.

16 We have a continuing focus on waste-based
17 feedstocks, such as woody biomass, wastewater,
18 and municipal solid waste as these tend to have
19 the lowest carbon intensity of any fuel.

20 As in previous years, the funds in this
21 category are expected to be open to multiple fuel
22 types in development stages, including pilot
23 demonstration and commercial scale projects.

24 The category has two parallel goals. One
25 of which is to continually drive improvements in

1 the cost effectiveness of these projects. This
2 will ultimately take the form of low cost,
3 commercial scale biofuel facilities.

4 The second goal is to encourage the use
5 of more advanced pathways and feedstocks for
6 biofuel production.

7 Beginning with this Investment Plan
8 update, we expect to include renewable hydrogen
9 production as an eligible product type in this
10 category. And this is the reason for the new
11 category name because renewable hydrogen can be
12 produced from both biomass and electrolysis, the
13 latter of which is not a biofuel.

14 The increase in funding to this category
15 compared to last year is, at least in part, to
16 support this new project type.

17 We may also pursue a new concept for
18 integrated renewable natural gas production and
19 distribution facilities, which would encourage
20 the use of renewable natural gas while overcoming
21 barriers to distribution.

22 This concept may involve a single grant
23 agreement that would provide funding for both
24 renewable natural gas production and refueling
25 infrastructure.

1 These agreements could also include
2 funding for dedicated low-NOx natural gas
3 vehicles that would use the fuel produced by
4 these facilities.

5 Moving on to electric charging
6 infrastructure. This graph illustrates the
7 progress our State and our Nation have made with
8 electric vehicle adoption.

9 The nationwide monthly sales of EVs are
10 represented with the blue columns. And as you
11 can see, the rate of sales continues to increase
12 as time goes on and more electric vehicle makes
13 and models are available.

14 Cumulative California sales, shown with
15 the green line, are also steadily increasing and
16 have surpassed 330,000 vehicles. For reference,
17 at this time last year we were at less than
18 240,000 EVs in California, so we had a 35 percent
19 year-over-year increase in the number of deployed
20 EVs.

21 Given the increasing pace of electric
22 vehicle sales, as well as the goals of the ZEV
23 Action Plan, we expect that we will need to
24 provide continued State investments for electric
25 charging infrastructure.

1 As in previous years, we expect that this
2 category will primarily fund infrastructure for
3 light-duty vehicles, such as passenger cars and
4 trucks, but may also fund infrastructure for
5 medium and heavy-duty vehicles, if needed.

6 For this coming fiscal year, we are
7 proposing a \$20 million allocation for electric
8 charging infrastructure, which is an increase of
9 about \$3 million compared to last year.

10 California has set a goal to have 1.5
11 million zero-emission vehicles on the roads by
12 2025 and the majority of these are expected to be
13 electric vehicles.

14 To determine how many chargers will be
15 required to support these vehicles, the Energy
16 Commission, in cooperation with the National
17 Renewable Energy Laboratory, developed the EVI-
18 PRO model. From this model, we're estimating
19 that the State will need 500,000 charge points by
20 2025 and this comes at an estimated cost of \$2
21 billion.

22 In addition to the ARFVTP, several other
23 organizations are now providing significant
24 funding for light-duty electric vehicle charging
25 infrastructure. However, these are limited to

1 certain project types or service territories.

2 The Volkswagen group set up the company,
3 Electrify America, to handle investments
4 resulting from the Diesel Emission Settlement.
5 And this will provide an average of \$48 billion
6 per year during the first 30-month investment
7 cycle for electric charging infrastructure.

8 In addition, PG&E is expected to invest
9 an average of \$43 million per year, and San Diego
10 Gas & Electric Company is expected to invest an
11 average of \$15 million per year in their
12 respective pilot programs for utility-owned
13 charging infrastructure.

14 Southern California Edison has already
15 planned \$22 million in investments and is seeking
16 approval from the CPUC for an additional \$8
17 million investment.

18 Despite the scale of these other
19 programs, we still foresee a strong need for
20 ARFVTP funding for charging infrastructure to
21 invest in both geographic areas and sectors that
22 aren't covered by other programs.

23 The slide, which was prepared by the
24 California Air Resources Board for their annual
25 Hydrogen Evaluation Report, provides context for

1 California's hydrogen refueling station
2 deployment efforts.

3 In this graph, the green bar represents
4 the fueling capacity of the stations funded to
5 date, measured in the number of vehicles which
6 can be supported. And the purple bar represents
7 the station capacity from expected future
8 investments.

9 The solid vertical bars represent
10 estimates for the number of hydrogen vehicles
11 expected to be on the road.

12 Similar to previous years, the Air
13 Resources Board is projecting that the currently-
14 funded infrastructure will be sufficient until
15 the end of this decade. But even with predicted
16 future infrastructure investments the State is
17 still expected to experience shortfalls in
18 hydrogen refueling capacity early in the next
19 decade.

20 For fiscal year 2018-2019 we are
21 proposing a \$20 million allocation for hydrogen
22 refueling infrastructure, which is the maximum
23 allowable under Assembly Bill 8. Based on
24 historical and expected station costs, we
25 estimate this allocation should support the

1 deployment of up to ten stations, plus operations
2 and maintenance support.

3 We expect a continuing need for O&M
4 funding in order to support the business case of
5 station developers. And this is because the
6 deployment of hydrogen vehicles is still in the
7 early stages. We expect that the need for this
8 support will dissipate as more hydrogen fuel cell
9 vehicles are on the roads.

10 One of the major proposed changes to the
11 2018-2019 Investment Plan is that we're proposing
12 to remove the dedicated funding for natural gas
13 fueling infrastructure and vehicles and combine
14 these project types into the Advanced Freight and
15 Fleet Technologies category.

16 What we've found is that over the past
17 couple years these funds have not been used by
18 applicants to the degree expected.

19 The most recent funding solicitation for
20 natural gas fueling infrastructure, which was
21 GFO-16-602, only received one and a half million
22 dollars in eligible applications, despite having
23 three and a half million dollars available.
24 Meaning that this solicitation was under-
25 subscribed by almost 60 percent.

1 In addition, the Natural Gas Vehicle
2 Incentive Project, unfortunately has only been
3 able to provide about \$5 million per year in
4 incentives, which is half of the historical
5 annual allocation for natural gas vehicles.

6 Although the Natural Gas Vehicle
7 Incentive Project originally saw a strong demand
8 for incentive reservations, many of these
9 reservations did not ultimately lead to a vehicle
10 purchase.

11 Also, both of these funding allocations
12 have high levels of unencumbered funds, with
13 \$4,400,000 available for natural gas
14 infrastructure projects and \$19,700,000 available
15 for natural gas vehicle incentives.

16 Finally, the Air Resources Board is
17 planning to provide some incentives for natural
18 gas vehicles through their Clean Truck and Bus
19 Vouchers.

20 The Advanced Freight and Fleet
21 Technologies category is also continuing to
22 evolve. As in previous years, this category
23 still focuses on the needs of medium and heavy-
24 duty vehicles which are most commonly used for
25 freight and in fleets.

1 We find these as Class 3 through 8
2 vehicles, with a gross vehicle weight of over
3 10,000 pounds. And we focus solely on the
4 alternative fuel and zero-emissions power trains.

5 For this fiscal year, the Air Resources
6 Board is planning a major expansion of vehicle
7 support projects under their Clean Transportation
8 Incentives. These include the Clean Truck and
9 Bus Voucher incentives, which has a proposed
10 budget of \$188 million and is expected to offer
11 vouchers that will cover up to the entire
12 incremental cost of a zero-emission vehicle.

13 In addition, the Air Resources Board is
14 also planning to provide \$190 million in
15 investments for the Advanced Freight Equipment
16 Demonstration and Deployment Project.

17 Taking these other funding sources into
18 account, we are proposing a 17 and a half
19 million-dollar allocation for this category.

20 The ARFVTP has been the State's main
21 source of funding for alternative fuel
22 infrastructure projects and we expect to continue
23 in this lead role by taking into account the need
24 to develop fueling infrastructure alongside the
25 vehicles I discussed in the previous slide.

1 We expect that an increasing share of
2 funding from this category will go towards
3 dedicated fueling infrastructure for freight and
4 fleet vehicles.

5 We also expect that the Energy Commission
6 will continue to work with the California Ports
7 Collaborative to help implement the California's
8 Sustainable Freight Action Plan.

9 The Energy Commission has also been
10 tasked with administering up to \$75 million for
11 the retrofit and replacement of school buses.
12 These buses will likely use zero or near-zero-
13 emission power trains and may also require
14 fueling infrastructure. So, funding from this
15 category may be used for those purposes.

16 In addition, any suitable projects for
17 natural gas vehicles and fueling infrastructure
18 will likely be funded from this category once the
19 dedicated natural gas funding is depleted.

20 Finally, we do expect to continue to fund
21 advanced technology freight and fleet vehicle
22 demonstrations in some capacity as the ARFVTP has
23 been a stable source of funding for these
24 projects since the inception of the program.

25 For the coming fiscal year, we're

1 proposing to continue the Manufacturing category
2 with a \$5 million allocation.

3 The 2017-2018 Investment Plan restarted
4 funding for manufacturing after a two-year hiatus
5 and we haven't yet gone forward with the
6 solicitation for these projects, so we don't have
7 much to report at the moment.

8 This category is expected to fund
9 projects that expand in-state manufacturing
10 facilities for zero and near-zero-emission
11 vehicles, vehicle components and infrastructure.
12 We expect the \$5 million allocation will be able
13 to fund one or two projects that will indirectly
14 support the other ARFVTP categories, as well as
15 the general goals of the program.

16 The projects are also expected to create
17 jobs and economic benefits in the State.

18 Finally, I'm going to provide a summary
19 of the remaining Related Needs and Opportunities
20 categories. These allocations are meant to
21 support alternative fuels and advanced technology
22 vehicles beyond what is proposed in the previous
23 categories.

24 The emerging Opportunities allocation is
25 largely set aside for project types which weren't

1 anticipated during the Investment Plan
2 development process.

3 In the past, this category has also
4 targeted Federal Cost Sharing project to bring
5 Federal grant money to California. And it may
6 also target cost sharing opportunities with
7 California Air Districts in the future.

8 We're proposing an allocation of
9 \$4,200,000 for this category and this is based on
10 the historical and projected needs for funds.

11 Our Workforce Training and Development
12 activities are also continuing with interagency
13 agreements and these also support the California
14 Community Colleges system. This category has and
15 will continue to provide funding to help meet
16 emerging workforce needs associated with the fuel
17 and vehicle types we fund in other parts of the
18 program.

19 For the coming fiscal year, we're
20 proposing a \$3,500,000 allocation based on the
21 anticipated need of these agreements and
22 activities.

23 Those are all of the categories we're
24 proposing for funding in this Investment Plan
25 Update. Going forward we will be seeking

1 feedback on all of these allocations, the
2 Investment Plan, and the program in general from
3 all stakeholders.

4 In order to incorporate any comments in
5 the Revised Staff Draft, we're asking to receive
6 them no later than Friday, November 17th.

7 We prefer to receive comments through the
8 Energy System's Ecommenting system and there's a
9 link to that on this slide and in the workshop
10 notice.

11 We also accept comments via e-mail and
12 regular mail, and instructions for where to send
13 these are also in the workshop notice.

14 We expect to release the Revised Staff
15 Report of the Investment Plan in advance of the
16 January 10th deadline we have, and are planning
17 to hold a second Advisory Committee meeting in
18 late January or early February, with a location
19 yet to be determined.

20 This final slide shows a summary of all
21 the funding allocations we are proposing in this
22 draft of the Investment Plan Update.

23 The Advisory Committee discussion will
24 begin momentarily, during which we hope to have
25 an open and frank discussion about these proposed

1 funding allocations and categories.

2 I can also answer any clarifying
3 questions about this presentation, now. However,
4 please hold off on any questions or comments
5 about specific fuel types, technologies or
6 allocations until the discussion or the public
7 comment period.

8 Thank you.

9 COMMISSIONER SCOTT: Thank you, Jacob.

10 Do we have questions from our Advisory
11 Committee Members for Jacob, on what he's just
12 presented?

13 Please, go ahead.

14 MS. SHARPLESS: I was wondering, just so
15 I can get sort of a better understanding of how
16 you evaluate the barriers and the opportunities
17 when you establish the direction for allocations,
18 do you ever do surveys? I just don't understand
19 right at the moment why some allocations, when we
20 have these categories, are not being used. And,
21 you know, so they either carry over or we
22 redistribute them. Can you tell me why that's
23 happening?

24 MR. ORENBERG: So, this is a forward-
25 looking Investment Plan. You know, we are

1 dealing with fiscal year 2018-2019 and it's done
2 up to a year in advance. So, we try to evaluate
3 the opportunities and barriers that we foresee by
4 discussing these issues with our technical staff
5 and the subject matter experts, as well as
6 engaging with industry, reviewing what other
7 State agencies and the Federal Government are
8 doing, and their plans for funding.

9 And yes, actually in the past we have
10 done surveys with our funding recipients.

11 MS. SHARPLESS: But can you specifically,
12 in those categories where the money is left on
13 the table because there's not enough response to
14 the solicitations, have you done an analysis of
15 why that happens?

16 MR. ORENBERG: We are currently
17 conducting an analysis. In the respect to
18 natural gas vehicles and natural gas fueling
19 infrastructure, some of the barriers that we're
20 encountering there is a poor price differential
21 between natural gas and other petroleum fuels,
22 specifically diesel. For several years they've
23 been at about the same price. You know, one goes
24 up, one goes down. But there hasn't been a
25 significant price benefit for natural gas for a

1 few years, now.

2 There used to be a substantial benefit of
3 a dollar or more per gallon equivalent.

4 So, that's one of the primary barriers
5 we're seeing with the natural gas vehicle
6 incentives.

7 There are some other issues that we're
8 looking into with the structure of the actual
9 incentive project, but I can't really get into
10 that right now. But we are trying to see how we
11 can better distribute this funding.

12 COMMISSIONER SCOTT: Bonnie and then
13 Ellen.

14 MS. HOLMES-GEN: Hi. Thank you. Bonnie
15 Holmes-Gen. I didn't introduce myself earlier,
16 sorry. American Lung Association in California.
17 Thank you for the excellent overview.

18 I have two questions. One, just given
19 the influx of climate investment money, as you've
20 mentioned in several places there's so much more
21 funding available directed to many of these
22 purposes, including freight, and I'm just
23 wondering if you could just kind of step back and
24 give kind of a little bigger picture as to has
25 anything changed about the way that you're

1 suggesting to allocate this money, given the mix
2 of the pots of money that's out there and the
3 additional funding that's available? Has there
4 anything changed about the purpose or the niche
5 that we see for this particular pot of money,
6 given the array of new funding that's out there?

7 MR. ORENBERG: The primary change has
8 been to the Advanced Freight and Fleet
9 Technologies category. Because the Air Resources
10 Board is providing substantial funding to near-
11 zero and zero-emission vehicle deployment and
12 demonstration projects that category, Advanced
13 Freight and Fleet Technologies, we expect it to
14 shift significantly towards infrastructure to
15 support zero-emission and near-zero-emission
16 medium and heavy-duty vehicles.

17 MS. HOLMES-GEN: And I didn't hear you
18 mention specifically about -- is the zero-
19 emission infrastructure for heavy-duty embedded
20 in the Advanced Freight and Fleet Technologies
21 pot or is that part of the zero-emissions pot?
22 Where is that piece of it?

23 MR. ORENBERG: The infrastructure for the
24 heavy-duty, zero-emission vehicles we expect to
25 fund from the Advanced Freight and Fleet

1 Technologies category.

2 We have also left the electric charging
3 infrastructure category open to fund
4 infrastructure for medium and heavy-duty vehicles
5 if we see an opportunity and a need to do that.
6 But the Advanced Freight and Fleet Technologies
7 category is expected to be the primary source of
8 funding for those types of projects.

9 MS. HOLMES-GEN: And is that something
10 that will just be considered along with the
11 applications for the specific vehicles or is
12 there any separate set aside for the
13 infrastructure piece?

14 MR. ORENBERG: It's not -- we don't make
15 a distinction in the Investment Plan as to how
16 much money will go to each project type. That
17 will be determined by the specific solicitations.

18 COMMISSIONER SCOTT: And that's something
19 that we will workshop. You know, we often do
20 those pre-solicitation workshops where we gather
21 a lot of information to understand exactly where
22 the need is. And so, we will be doing that in
23 this space as well.

24 MS. HOLMES-GEN: But it would just -- it
25 would generally be -- it's just one of the

1 projects that can be applied for through that
2 bin, whether it's tied to a specific deployment
3 of vehicles or not? Is that correct? I mean it
4 could be a separate, it could be a combined
5 project with vehicles and infrastructure or it
6 could be separate, is that --

7 MR. ORENBERG: That would really be
8 determined by the specific solicitation.

9 MS. HOLMES-GEN: All right. Okay. I
10 mean it seems like another change in this pot, in
11 this package is that we're not suggesting any
12 backup for CVRP because we finally, hopefully,
13 have enough funding for CVRP. So, it's nice to
14 know, finally, that we are hopefully not going to
15 have gaps in CVRP funding for the next year.

16 I guess another question is just
17 regarding equity. And as you're looking at this
18 package of expenditures what kind of review has
19 been done in terms of looking at where,
20 specifically, the funding has gone and what the
21 goals are in terms of ensuring that as much
22 funding as possible is going to be assisting
23 disadvantaged communities? Is that a frame
24 that's been used here?

25 MR. ORENBERG: It is discussed a little

1 bit in the Investment Plan. Again, that is an
2 issue that we typically incorporate in to our
3 solicitations. I believe all or substantially
4 all of our solicitations do have scoring criteria
5 that takes into account the CalEnviroScreen 3.0
6 score, which measures community impacts such as
7 air pollution and water pollution. I think
8 income is included in those.

9 So, all of these factors are taken into
10 consideration with almost all of our funding.
11 And so, the goal is there to encourage the
12 deployment of these beneficial projects in those
13 communities, for the benefit of those
14 communities.

15 COMMISSIONER SCOTT: I have Ellen and
16 then Steve.

17 MS. GREENBERG: Thank you. Ellen
18 Greenberg, Caltrans. Jacob, thank you to you and
19 other Energy Commission staff. Thank you for the
20 presentation and for all the work on the
21 proposal.

22 Just staying on the topic of the Advanced
23 Freight and Fleet Technologies Program, could you
24 describe a bit more what's included under that
25 program? I'm specifically wondering about

1 equipment, on-road equipment that's not freight
2 related, necessarily. Like for example hydrogen
3 street sweepers, and charging infrastructure
4 necessary to support some of the new equipment
5 available?

6 MR. ORENBERG: The Investment Plan
7 Update, that chapter of the Investment Plan
8 Update is written to incorporate a broad variety
9 of different project types. So, we target with
10 that category basically medium and heavy-duty
11 vehicles. These are, you know, almost
12 exclusively used either for freight and goods
13 movement or in vehicle fleets. That's where the
14 name comes from.

15 So, these vehicles have a gross vehicle
16 weight of 10,000 pounds or more. I believe
17 that's Class 3 and above. And again, we target a
18 variety of near-zero and zero-emission power
19 trains with these funds. So, we wouldn't
20 specifically call out, necessarily, hydrogen but
21 that could be open to it.

22 And I think as I said before, we are
23 looking into supporting the fueling
24 infrastructure to support these vehicles and
25 provide a significant amount of this funding for

1 those purposes.

2 MS. GREENBERG: Okay, thank you.

3 MR. ORENBERG: Yeah.

4 COMMISSIONER SCOTT: Steve and then
5 Casey.

6 MR. KAFFKA: Bonnie's presence here and
7 her comments remind me of an item I found in the
8 actual document, the proposal that's been
9 released that we're reviewing today. And I just
10 want to bring it up. On page 27, you have a
11 comment about the State Implementation Plans for
12 air quality. And you talk about both the South
13 Coast and the San Joaquin Valley being two areas
14 in extreme non-attainment, which are really quite
15 true.

16 And then you mention that there are
17 actions in the State's policy program to affect a
18 very significant reduction in emissions in the
19 South Coast Air Basin by 2031. And it stops
20 there. There's no further comment about the San
21 Joaquin Valley. And I think that's a significant
22 omission. And I'm just curious if there are
23 either no programs that are particularly focused
24 on the San Joaquin Valley or is it omitted here
25 for reasons that effectively are just overlooked,

1 or what?

2 MR. ORENBERG: There is no reason for
3 that omission. I will certainly look into that
4 for the Revised Staff Report and see if I can
5 incorporate something for the San Joaquin Valley.

6 COMMISSIONER SCOTT: Yeah, that's a great
7 catch. We can add that in.

8 MR. KAFFKA: I mean, are there such
9 programs?

10 COMMISSIONER SCOTT: Yes, the San Joaquin
11 Valley certainly has a series of clean air
12 programs. I don't have their attainment dates
13 right off the top of my head. Someone around the
14 table may. But we should absolutely include
15 that. That was just an oversight. Thanks for
16 pointing that out, though.

17 MR. KAFFKA: Well, it's related to
18 another set of comments I have and I'm not sure
19 where the right moment is to bring them up. It's
20 what I consider perhaps a significant omission
21 from this plan. And I'm not sure whether it
22 should be discussed now or later when there's
23 going to be a more thorough discussion of
24 biomass.

25 COMMISSIONER SCOTT: Yeah, why don't we

1 do that during the discussion of biomass and
2 we'll just do this part for additional clarifying
3 questions for Jacob. And then, when we get into
4 the discussion we can get into the details there.

5 Casey, please go ahead.

6 MR. GALLAGHER: Hello. Yes, in reference
7 to workforce training and development and as well
8 as the commitment to diversity, is there any form
9 of criteria in the creation of -- criteria in the
10 quality of jobs that this plan would create?

11 MR. ORENBERG: I'm sorry?

12 MR. GALLAGHER: Like with the idea of the
13 job creation, was there any kind of -- in the
14 decision-making process of who would get the
15 funding, of the quality of jobs that this plan
16 would create?

17 MR. ORENBERG: I'm not sure I can really
18 speak to that. That might be a little beyond my
19 knowledge with the workforce training and
20 development. Our funding does -- it targets, I
21 guess, what could colloquially be called green
22 collar jobs. The funding is distributed to other
23 State agencies right now for programs such as the
24 Employment Development Department, the Employment
25 Training Panel, and the California Community

1 Colleges System.

2 As far as the quality of the jobs, I'm
3 not entirely sure how to address that.

4 MR. COOPER: This is Peter Cooper from
5 the Employment Training Panel. I think I can
6 respond to a part of your question there. Not
7 necessarily the job creation.

8 But with the workforce training dollars,
9 with ETP's process, we require there to be a
10 minimum wage for any training that's being
11 reimbursed through our funding programs. As
12 well, placement in the jobs, as well as
13 healthcare benefits.

14 So, we do have -- you know, we seek to
15 support high quality jobs, but I can't really
16 speak to the job creation from, let's say, the
17 investment in manufacturing or something like
18 that.

19 MR. GALLAGHER: Thank you.

20 MR. KATO: And I just want to add, also,
21 that those basic qualifiers are things that we
22 are actually focusing more on as we move forward
23 because those are very relevant as far as
24 performance and what we're accomplishing. So, I
25 mean those aren't lost.

1 COMMISSIONER SCOTT: I have Brian,
2 followed by Jan.

3 MR. GOLDSTEIN: I just wanted to follow
4 up on Bonnie's question about additional funding
5 coming in from other programs. So, I guess the
6 Volkswagen one I think would be a good example.
7 So, as that comes in that funding's directed
8 specifically to one fuel type, is that correct?
9 So, is it possible to balance out the other fuel
10 types and reallocate monies to that?

11 You take a look at the overall picture of
12 funding going to the fuel types and try to
13 maintain some sort of balance considering kind of
14 the disproportionate amount coming in from
15 external sources for one type. Or, are the
16 funding levels locked in per fuel type here?

17 MR. ORENBURG: The funding levels are
18 generally locked in as -- I mean not locked in.
19 This is a proposal, they could still change. But
20 once we adopt the Investment Plan they're
21 generally locked in and we'd have to go back and
22 change them.

23 When we do develop these funding levels,
24 we do try and take into account all of the other
25 funding sources out there. So, especially with

1 electric charging infrastructure. As I stated
2 earlier, we're expecting an average of, I think,
3 \$48 million per year from Volkswagen to go
4 towards electric charging infrastructure.

5 But even so, we've placed a \$2 billion
6 price tag on the amount of electric charging
7 infrastructure that we needed in the State by
8 2025. So, we do think that the \$20 million
9 allocation here is justified.

10 And similar analysis has gone into all of
11 the other categories here.

12 MR. GOLDSTEIN: Okay. But just to
13 clarify, that's not necessarily locked in until
14 the budget's approved and that's something that
15 you can take a look at annually to, you know,
16 kind of evaluate whether one technology's getting
17 a disproportionate attention or funding.

18 MR. ORENBERG: Correct and we do. We do
19 evaluate that every year.

20 MR. GOLDSTEIN: And then my other
21 question, well, it may be more of a comment. You
22 know, you have the cumulative awards and
23 percentage of funding and number of agreements.
24 But it would be good, I think, just for us to
25 have some type of idea of, you know, for each

1 funding category how many vehicles that could be
2 serviced over a certain period of time. So, you
3 know, how many vehicles per year can be fueled
4 with the biomethane or ethanol, and biodiesel-
5 specific categories.

6 And then, an additional idea of what the
7 air quality impact is there. You know, what are
8 the emissions mitigation per vehicle. It would
9 just kind of give us an idea of the overall
10 impact of the funding that's going into each
11 category.

12 MR. ORENBERG: We can certainly look into
13 that.

14 MR. GOLDSTEIN: Great, thanks.

15 COMMISSIONER SCOTT: We also have
16 incorporated into our Integrated Energy Policy
17 Report the benefits of the ARFVTP program and so
18 it talks about the greenhouse gas reductions that
19 we have associated with it, the clean air
20 reductions. It does have a count of the number
21 of vehicles. Maybe not quite the way that you've
22 described it but we do have -- and I don't think
23 we incorporate -- we have some of that in here,
24 but there's a whole chapter that will be in the
25 Integrated Energy Policy Report that's got those

1 details as well.

2 MR. GOLDSTEIN: Gottcha, thank you.

3 COMMISSIONER SCOTT: Yes, you're welcome.

4 Jan, followed by Joel.

5 MS. SHARPLESS: Yes. Speaking to the
6 question regarding the San Joaquin Valley
7 expenditures of this money, there is a good
8 figure, ES.2, on page 4 that has the colored
9 wheel. And it does show that \$114.8 million from
10 this program has gone to San Joaquin Valley
11 solicitations.

12 But the question goes back to sort of the
13 initial question I had. Isn't this program
14 driven by who responds to the solicitations? So,
15 it's interesting because when you look at this
16 wheel you see that the districts that have huge
17 air quality problems, South Coast for example,
18 San Joaquin Valley, they are getting a
19 substantial amount of the money from this program
20 for their solicitations, even though this is sort
21 of, you know, a need-to-respond kind of program.

22 So that was what went back to my initial
23 question of, you know, why is some money being
24 left on the table? You know, where are the
25 opportunities, where are the barriers?

1 It seems that when there are barriers,
2 such as the cost differential between natural gas
3 and other forms of fuel that that's kind of a
4 barrier that we accept and we don't try to drive
5 through the barriers. We respond to the barriers
6 by going in another direction sort of.

7 That kind of gets at the nut of the
8 question I'm asking. Because I can't quite get
9 my arms around, you know, the \$3 million more in
10 this category, the \$2 million less in this
11 category as to what is -- I read the analysis of
12 doing the assessment and you've done a great job.
13 But it still raises the question that this
14 program is a responsive program and there's a lot
15 of different things happening in the market now.

16 We used to, under electric vehicles, that
17 was the rock being pushed up a very steep cliff.
18 Now when you read the news, you know, you've got
19 car companies basically dedicating their future
20 to electric vehicles and automated drive trains.
21 And so, it's less of a rock now and more of a
22 game of how do we harness the market to meet our
23 goals?

24 Because this program has so many moving
25 parts. I just think you guys are doing an

1 amazing job. I don't know how you keep track of
2 all the moving parts of everything you're trying
3 to cover and plus all of this new money that's
4 coming in.

5 So, I guess that's a comment. I don't
6 know if there's question attached to it.

7 (Laughter)

8 MS. SHARPLESS: Except just, you know,
9 this is a solicitation program and so somehow, we
10 need to make sure that when we do the
11 solicitations we are responding in the
12 solicitations to what the stakeholders say they
13 need in order to transform the market. Rather
14 than responding sort of in a defensive way.

15 COMMISSIONER SCOTT: Yeah, we agree with
16 that. And I think that's very much what we, and
17 the team that works all day, every day really
18 hard on these are trying to do. And so, I
19 appreciate the comment. And we will continue to
20 keep working on that and thinking about ways to
21 improve that and continue to do it better.

22 But that's -- you know, when we put
23 together our pre-solicitation workshops that's
24 what we're looking to do, get the latest and
25 greatest, most current information. Is there a

1 barrier in an area that we need to put the money
2 towards solving? Is there a technology tweak?
3 Maybe that's not quite the right word if you're
4 engineer. That if we can figure that out then
5 everyone who's using that technology then is able
6 to -- it raises all boats. We're always looking
7 for those types of things when we're putting the
8 funding in. And we get most of that information
9 when we do our pre-solicitation workshops. But
10 also, just from the staff expertise and the
11 different folks that they interact with every
12 day.

13 So, I have Joel and then Thomas.

14 MR. ESPINO: Good morning. Thanks for
15 that presentation, Jacob. So, I have a couple
16 questions here and they're mostly, I think it's a
17 little bit of my lack of prep. So, I apologize
18 that there might be something in the Investment
19 Plan speaking to this, but just taking the
20 opportunity to ask the question.

21 You mentioned all the various, and it's
22 been mentioned already the various pots of money
23 that are out there, climate investments,
24 Volkswagen. All them related to zero-emission
25 vehicle technology.

1 I'm curious if Energy Commission has
2 worked with the Air Resources Board and the other
3 agencies to sort of map out those different pots
4 of money, and maybe in a chart or something that
5 we can kind of reference to see which categories,
6 which vehicle types are being supported across
7 various pots of money, which ones are lacking. I
8 think that would be really helpful.

9 If there's something in the Investment
10 Plan that you can point me to, I think I would
11 really appreciate that.

12 MR. ORENBERG: Yeah, that sounds like a
13 great idea and we can look into including
14 something like that or posting something like
15 that on our webpage.

16 Chapter 2 in the Investment Plan goes
17 into depth into each of the other funding
18 categories we've taken into account. So, one by
19 one it talks about each different source of
20 funding or each policy goal. So, that would be a
21 good chapter to review. And it talks more in
22 depth specifically about the ARB's Clean
23 Transportation Incentives.

24 MR. ESPINO: Okay, great. I'll make sure
25 to look at that.

1 And my other question, similarly, I'm
2 more familiar with the ARB process. And I know
3 that in their funding plans part of it is because
4 they're required through law, they break down the
5 investments that are going into disadvantaged
6 communities. And I'm wondering if there's a
7 similar chart or somewhere on the website with
8 the Energy Commission that we can reference for
9 that purpose?

10 MR. ORENBERG: We do not have that in the
11 Investment Plan, but I believe that actually is
12 mapped out on our website.

13 MR. ESPINO: Okay. Is there like a
14 specific site I can go to?

15 MR. ORENBERG: We'll have to follow up
16 with you on that and send you the link.

17 MR. ESPINO: Okay, I would appreciate
18 that.

19 And then, I just kind of wanted to end
20 with a comment and just really appreciate Bonnie
21 bringing up the points around equity, and really
22 appreciate the Energy Commission emphasis on the
23 inclusion in equity.

24 Our work with the Greenlining Institute,
25 we focus on social equity across these policies,

1 so I really appreciate that.

2 And my last point is around the workforce
3 piece. I'm definitely going to get up to speed
4 on what that program entails. But just to
5 provide some overarching comments here, I think
6 the emphasis on job quality is important.

7 A lot of the points that we raise is as
8 we're transitioning, right, to kind of a cleaner
9 energy economy we want to make sure that that
10 economy is better than the one we have right now,
11 right. So, we have a lot of income and equality,
12 a lot of issues in this current economy.

13 And so, to the extent that we can lift up
14 minimum wages, provide living wage services, and
15 just kind of more robust employment protections
16 for folks, I think that that should be reflected
17 in not just the Workforce Training Development
18 money but also, you know, the manufacturing piece
19 emerging opportunities.

20 I think we should leverage -- at the end
21 of the day these are public funds, right, so we
22 should try to maximize the public impact that
23 these dollars can have.

24 COMMISSIONER SCOTT: Great. I have
25 Thomas and then Brian. And then, maybe Steve,

1 we'll end with you just so we can get to the part
2 where we get into the details of each.

3 But Thomas, please go ahead. Then Brian,
4 then Steve.

5 MR. LAWSON: Thank you, good morning.
6 Sorry I was late. I had a couple of points and a
7 couple of questions. And I wanted to start off,
8 obviously, with Slide 21.

9 And I think one of the issues that our
10 industry has been dealing with over the last
11 couple of months is communication, I think, in
12 trying to figure out how do we deal with
13 problems.

14 Obviously, I'm reading here that the
15 incentive funding is under-utilized. And to me
16 that's a red flag that there's some issues that
17 we need to work out with the particular program
18 administrator and maybe some changes we need to
19 make inside the program.

20 And I would love to have a conversation
21 with staff and maybe UCI folks and figure out
22 what are some feedback that they're hearing from
23 folks that are interacting with the program, and
24 how do we incorporate some changes to make it
25 work much better than it is right now.

1 I think as an industry we've been trying
2 to obviously engage, not just with CEC, but also
3 with the ARB on some of these programs and trying
4 to tweak different things here and there. And I
5 think that, you know, we'd love to have a more
6 robust conversation about that because I think
7 that there are some things that we may be hearing
8 that we're trying to push for, that may not be
9 coming all the way up the pipeline.

10 So, I'm very much looking forward to some
11 real engagement on that in the next couple of
12 weeks, and month or so.

13 You know, and then I'd love to get into
14 some of the data as well, right, and figure out -
15 - you know, we talked yesterday a little bit
16 about the reservations and some of those coming
17 back, and really getting into some weeds on that
18 at that time, as well, to figure out a percentage
19 of folks that are returning, and how do we kind
20 of encourage folks to follow through on those
21 collections.

22 And then, we've talked briefly about some
23 of the issues with folks like Penske, and others,
24 that are having some difficulty with trying to
25 figure out how they can interact with the program

1 in a better way. So, they have an opportunity,
2 especially for fleets or smaller fleets, folks
3 that can't afford to purchase new vehicles on
4 their own, and how do we get those folks. And I
5 think that can be very impactful especially as
6 we're talking about what's going on in the realm
7 of ports.

8 The other thing I wanted to talk about
9 was on the workforce development piece. I think
10 we've talked about this quite a bit over the last
11 couple of months or since our last plan. And I
12 know when we were lobbying the Capitol one of the
13 issues that came up was what do you do about
14 jobs? Right, what do you do about these "oil
15 jobs" that people are going to lose because we're
16 transitioning to this greener economy.

17 And so, I just want to know that that's
18 part of this plan, right. I mean, you start
19 talking about these manufacturing jobs, these
20 engineering jobs, some of these more specialized
21 positions can definitely roll over into our
22 energy projects that we have going on.
23 Obviously, CFA's got a lot of funding in those
24 programs and we expect to see a lot of those
25 projects coming online.

1 And it seems like a very natural way to
2 push folks that may be in, you know, a different
3 industry into the green industry. And, you know,
4 if not have equal income, if not better income.
5 And I think that having some kind of specific
6 language about how we do that or if there's
7 issues on how we can make that happen, some kind
8 of internships or I don't know how we can do it.

9 But then I think the next step to that is
10 communicating that to the Legislature, right, so
11 that they understanding that that's not just --
12 that we're not just -- we, as an industry, you
13 know, folks that are involved in clean tech want
14 to just take away old jobs, but that we're
15 thinking it all the way through and trying to
16 make sure whether folks can put food on the
17 table.

18 So, I think that could go a long way in
19 getting the Legislature on board with some of the
20 things that we're trying to do and ask for in the
21 future.

22 So, those are two things that I wanted to
23 talk about and we'll get into some of the other
24 stuff later on. But thanks.

25 COMMISSIONER SCOTT: Okay, thanks.

1 Brian and then Steve.

2 MR. GOLDSTEIN: As Jacob mentioned, and
3 threw up the chart as far as number of hydrogen
4 vehicles we're expecting in the coming years, and
5 kind of the anxiety we have about being able to
6 build enough stations to fuel those. And so,
7 along that line of thinking I'm always trying to
8 consider, you know, how can we build more
9 stations or save money on the stations as we can,
10 and stretch ARFVTP dollars.

11 And I'm wondering if the Energy
12 Commission looks at overlap in the cost of
13 installing the various technologies, right? So,
14 if site prep is 10 or 20 percent of building a
15 hydrogen station, is there similar site prep to
16 building a CNG station, right. And if you co-
17 locate them would you be able to save money on
18 both technologies and then have more money to
19 spend on additional stations?

20 So, it's stuff like, you know, either
21 zoning, permitting or laying the infrastructure
22 to actually get to the station, or the
23 electrical, specifically. I know that there are
24 some huge electrical requirements on several of
25 these fuel types.

1 So, you know, I'm wondering or suggesting
2 that we take a look and see where that overlap is
3 and figure out if we can save money on the
4 individual stations by co-locating them. Thanks.

5 COMMISSIONER SCOTT: Thanks.

6 Steve.

7 MR. CLIFF: On pages 15 and 16 in the
8 Proposed Plan there's a discussion of cost
9 benefit analysis, which I think is very good.
10 And it's particularly focused on carbon
11 reductions for innovative investment.

12 But to support some of the other comments
13 that have been made here, including Mr. Lawson's,
14 my question is whether or not -- I mean, I think
15 carbon reduction per unit of investment is very
16 critical. It's a fundamental piece of the
17 program. But is there some other way to also
18 account for some not as readily carbonized or
19 monetized benefits that might come from these
20 programs?

21 So, for example, employment opportunities
22 and growth. And other secondary benefits, since
23 I think about biomass, I think about the
24 beneficial uses of biomass from a landscape,
25 wildfire reduction for example could be greatly

1 enhanced by providing a market for that biomass,
2 and some of which would be in the energy economy.

3 And so, while carbon reduction still is
4 the most important thing, we have to also account
5 for the other things that people desire, such as
6 infrastructure, and homes, and let's say less
7 wildfire for example. So, I just wanted to raise
8 that.

9 COMMISSIONER SCOTT: Thank you.

10 So, let's go on to our staff
11 presentations on the ARFVTP activities. So,
12 those will be brief, just to kind of whet your
13 appetite a little bit about what's taking place
14 in each of these categories, and then we will
15 discuss the categories.

16 Let me just turn to the -- oh, I'm sorry,
17 Steve, did you have something you wanted to say?
18 No, no, this Steve.

19 And let me just make sure, Shannon, if
20 you want to jump in at any time, and we forget to
21 call on you, please raise your hand I'll make
22 sure that my WebEx folks are flagging me down so
23 that you can participate fully, as well.

24 MS. BAKER-BRANSTETTER: Thank you.

25 COMMISSIONER SCOTT: I did want to say

1 welcome to Peter Cooper, to Bonnie Holmes-Gen, to
2 Steve Cliff, and to Thomas Lawson who have joined
3 us since we did the round of introductions at
4 10:00 a.m.

5 And also, to let folks know that if you
6 are wanting to make a comment we have blue cards.
7 They're sitting up on the front table there. You
8 just pick it up, put your name on it, let us know
9 what you want to comment on. And then, if you
10 bring it over to Patrick, who's waving at you
11 there, he will get t hose up to me and that's how
12 we know that you'd like to make a public comment,
13 for those of you who are in the room.

14 So, with that, let's get going on our
15 presentations and discussion.

16 MR. ORENBERG: Thanks, Commissioner
17 Scott. So, as you said, we'll now begin the
18 Advisory Committee discussion on low carbon
19 fuels. And our Biofuels team will start off with
20 a brief presentation on the allocation.

21 We will then proceed with the discussion.
22 After which we'll have a public comment period
23 specifically for low carbon fuels.

24 Just also, as a note, if you're
25 participating via WebEx and you would like to

1 comment, please use the raised hand feature.

2 We'll then call your name to speak, and unmute
3 you during the public comment period.

4 And Shannon is actually a panelist on the
5 WebEx, so she is unmuted 100 percent of the time.

6 COMMISSIONER SCOTT: Oh, great. Okay.

7 MR. ORENBERG: So, with that I will turn
8 this over to Bill Kinney, who will be presenting
9 for our Biofuels Unit.

10 MR. KINNEY: Thank you, Jacob. Good
11 morning, everyone.

12 COMMISSIONER SCOTT: Good morning.

13 MR. KINNEY: My name, for those of you I
14 haven't met, is Bill Kinney. And I am the
15 Technical Lead for the Biofuels Unit, within the
16 Emerging Fuels Office. I see a few familiar
17 faces here today.

18 So, in the, what is it, it's been nine
19 years, almost, since we started doing this, we've
20 funded 60 projects. We've invested a total of
21 \$168 million in those projects.

22 In response, I'm just going to try and ad
23 lib here a little bit in some of the questions.
24 We do try and coordinate our funding with other
25 agencies and what's going on that affect the

1 stakeholders in our area. So, we're ever mindful
2 of what's going on out there and trying to
3 balance what we do with what everyone else is
4 doing so that we're meeting the needs that we
5 can, as well as we can.

6 We have some discretion about how we
7 allocate or divide up our money so that we have,
8 in the past, done fuel type allocations. Most
9 recently, we did a funding opportunity based on
10 scale. And, you know, we're still trying to
11 evaluate how that worked. But we do have some
12 discretion to try and meet changing needs.

13 And we do have a small amount that we've
14 reserved, which I'll talk about in a minute, for
15 emerging technologies and emerging needs in the
16 market.

17 Okay. So, we've funded approximately
18 135.7 million gallons of capacity within the
19 State. And the average weighted carbon
20 intensity, volume weighted carbon intensity is
21 24.1 grams of CO2 equivalent per megajoule.

22 We've reduced the transportation GHGs by
23 1.3 million tons, which sounds like a lot. But,
24 of course, that's pretty small compared to the
25 440 million that Jacob talked about earlier.

1 And so, our funds have leveraged over
2 \$500 million in public and private investment
3 statewide. And of that, approximately \$390
4 million have been invested in disadvantaged
5 communities. So, that's about 78 percent. So,
6 responding to, you know, the concerns about that.

7 And of that, we've generated about 572
8 long-term jobs and 1,589 short-term jobs. And
9 the total impact that we've measured from our
10 stakeholders is almost \$106 million a year in
11 State and Local tax revenues. And of that,
12 almost -- again, almost 89 percent or \$84.4
13 million in disadvantaged communities.

14 Let's see, I guess that's covered that.
15 So, as we look at the emerging needs and
16 opportunities to fulfill our mission, we have
17 sort of broad funding areas. So, large
18 commercial facilities are typically high volume,
19 high cost effectiveness, low-carbon fuels. And
20 these typically have higher employment impacts in
21 the communities. Not always.

22 Community scale facilities are an attempt
23 to match production capacity with totally --
24 sorry, locally available feedstock supply. And
25 these projects typically address complementary

1 State goals such as short-lived climate pollutant
2 reduction and also waste management.

3 And then, finally, the sort of third area
4 that I mentioned a minute ago, transformative
5 technologies. So, there we're looking at
6 technological advancements that increase the
7 yield of fuels for a given level of feedstock or
8 general productivity, or cost effectiveness. And
9 an example of that would be, you know, a
10 renewable gasoline that we can help hurdle the
11 blend wall.

12 Additionally, we look at sustainability
13 and we look at the applicant's ability to bring
14 new feedstock sources into the market. Such as
15 woody biomass, for instance.

16 This is an example of one of our
17 projects. It's an interesting business model.
18 It's AltAir Fuels, in Paramount, California,
19 southeast of L.A. And they retrofitted an
20 existing oil refinery to produce biofuels.

21 And they produce about 40 million gallons
22 a year and they support 200 direct and indirect
23 jobs. They produce renewable diesel and jet
24 fuel. They can vary their production process to
25 meet the changing market needs among those two

1 fuel types.

2 And then, further -- other recent
3 examples in this area are Crimson Renewables,
4 Tracy Renewable Energy, SJV Biodiesel, Community
5 Fuels, and New Leaf Biofuel, LLC.

6 So, this, we've got two maps here. The
7 one on your right, the yellow areas are, as I
8 understand it, the areas of disadvantaged
9 communities. And all the dots are different
10 kinds of feedstock sources.

11 The map on the left shows a particular
12 project, California Bioenergy, and they are
13 trying to link a series of dairies and combine
14 with the low volume and low pressure gathering,
15 collecting pipelines into a centralized facility
16 that then is able to utilize economies of scale,
17 and clean up. And pipeline injection. Sorry.

18 So, am I running out of time? I'm just
19 trying to -- okay.

20 So, this is a quick slide here. This, on
21 the left, is Tracy Renewable Energy and they are
22 utilizing sugar beets for ethanol. And it's sort
23 of a combined, multi-renewable energy project.

24 And then, G4 is a project that we
25 completed about a year and a half ago, or two

1 years ago, and it is converting woody biomass to
2 biomethane.

3 So, kind of returning to the -- whoops.
4 What did I do here?

5 (Pause)

6 MR. KINNEY: So, anyway, emerging
7 opportunities for advancement here. Renewable
8 drop-in diesel and drop-in gasoline, woody
9 biomass conversion, and other renewable fuel
10 pathways, including biocrude.

11 We have approximately \$17 million
12 available from previous solicitations and we
13 probably will allocate that between commercial
14 scale and transformative scale solicitations.
15 And we're hoping to do a demonstration facilities
16 solicitation early next year, and commercial
17 facilities perhaps in the future.

18 And the proposed allocation, you already
19 heard about that.

20 Do we do questions, now? Should we do
21 questions or later?

22 COMMISSIONER SCOTT: Unless anyone has a
23 clarifying question for Bill, please feel free to
24 ask. Otherwise, we will jump into our -- anyone
25 on the Advisory Committee. Otherwise, we'll jump

1 into our discussion.

2 I also wanted to -- thank you, Bill, for
3 the presentation.

4 Welcome John Shears, who has joined us on
5 the WebEx.

6 And we'll start with Steve and then go to
7 Joe.

8 MR. CLIFF: Hi Bill. I want to actually
9 start by saying I think that the Energy
10 Commission staff does a great job with this
11 program, with all the conflicting demands that
12 are there.

13 But I also want to ask a question about
14 what I think of as an absence in the kinds of
15 things that perhaps might be being considered.
16 And this is not simply an issue for the Energy
17 Commission. I think it's also the Air Resources
18 Board and other State agencies.

19 And that is there's, I think, an absence
20 of the consideration of higher octane fuels or
21 alcohol blend alternatives in not just this plan,
22 but in actually the State's consideration of its
23 future transportation fuel structure and
24 opportunities.

25 It's not that that particular pathway

1 might be the most, the best pathway or even an
2 appropriate pathway for the State. But I notice
3 in trying to look for such things an absence of
4 consideration.

5 And I think that's -- if we're going to
6 be thorough and since the original AB 32
7 legislation suggested that the State should not
8 favor any particular pathway, the absence is in
9 fact, I think, a significant thing.

10 And my reason for pointing it out is
11 because I think about biomass use. And it's
12 quite -- there are a number of beneficial uses of
13 biomass that would be, I think, incentivized or
14 enhanced by having a market for liquid
15 transportation fuels, perhaps ethanol. Ethanol
16 being one of the easiest or most efficient fuels
17 to make from biomass.

18 Those might be in the California context,
19 for example, ethanol made from woody biomass.
20 They might be in the national context, since
21 California imports so much feedstock from the
22 west currently, and the rest of the country does
23 as well, the opportunity for perennial crops to
24 be introduced into the largely annual crop-
25 dominated landscape in the Midwest production

1 environment. The idea of using perennial grasses
2 for erosion control and remediation of nutrient
3 loss and so on is actually a very positive thing
4 that would be a nice secondary benefit from the
5 use of these kinds of fuels.

6 And I see nowhere, including in the Air
7 Board's energy model that's online, where you can
8 look at alternative pathways, and there's not
9 even a category for this.

10 So, it's absence is striking and I think
11 here as well. There's other benefits from this.
12 I mean if we were to be able to support in-State
13 production of additional ethanol fuels that leads
14 to significant job creation of the most robust
15 and beneficial types of jobs. Particularly in
16 areas where biomass exist, which are largely
17 among disadvantaged communities and disadvantaged
18 areas.

19 So, there's, I think, a number of
20 potential benefits that might accrue, I just
21 think that they should be more thoroughly
22 evaluated than I see happening in current policy.
23 Circles, particularly, in the agencies that are
24 most effective in this area.

25 COMMISSIONER SCOTT: Joe and then Joy.

1 MR. GERSHEN: I also want to thank
2 everybody for the great work. I mean, it's a
3 pretty Herculean task and you guys are doing a
4 great job. So, thanks again for all that work.

5 So, I don't know if now's the exact time,
6 just wanted to point out a couple of things in
7 the actual plan I found and didn't have a lot of
8 time to review. So, I'm going to submit written
9 comments later, before the 17th, and get into it
10 in more detail.

11 But there's a part in there, in Chapter
12 3, where it talks about low carbon fuel
13 production and biodiesel, in particular. There
14 were 11, I think, awards and only two projects
15 are completed.

16 And I don't think that's correct, unless
17 I'm not understanding what is meant by completed.
18 But I know if you look at the Crimson Projects,
19 and the New Leaf Projects, and the Biodico
20 Projects, and there was another one that there
21 are certainly more than two that are complete and
22 producing fuel. I mean, I personally know of
23 more than two.

24 So, you might want to go back and look at
25 that. And if I'm wrong, you know, and there's

1 something that's officially not completed, I know
2 they're producing fuel, though.

3 So, also, I agree, you know, there's
4 enormous petroleum and greenhouse gas emission
5 reduction potential for any of the drop-in fuel,
6 the renewable crude, and petroleum replacements.
7 I'm just, I think similar to what Steve's saying,
8 cautious about jumping away from certain things.

9 Obviously, I talk a lot here about what I
10 call downstream biofuels versus some of the
11 upstream biofuels is how I'll describe them. And
12 as most of you probably know, I'm really
13 supportive of a variety of modalities, including
14 the upstream and downstream biofuels.

15 But I just caution you guys to not sort
16 of go too extreme in one direction or another.
17 There's plenty of interesting things.

18 I think six or eight years ago, when I
19 joined the Committee, at one point I was asked,
20 you know, what do I think is the best bang for
21 the buck? And I had sort of pointed out, well,
22 there's existing companies that are doing this.
23 They're actually successful and why not look at
24 those, and hopefully bottleneck them and expand.
25 So, several solicitations came out and those

1 companies have expanded and they're producing a
2 lot of low carbon fuels and doing a great job.

3 There's some great technologies out
4 there. And then, probably there are some that
5 are not so great. And I think vetting some of
6 those projects carefully is important.

7 You know, there are a lot of technologies
8 that could be expanded. That can go through
9 various upgrades to lower the carbon intensity of
10 those fuels that are already making fuel, rather
11 than jumping into something that's more esoteric.
12 It's certainly transformative. It's worth
13 putting investment dollars into some
14 transformative technologies for sure, but don't
15 want to orphan some of the ones that are existing
16 that really have a great amount of expansion, and
17 further carbon reduction, carbon intensity
18 reduction potential.

19 Happy about finally getting some extra
20 money into this category. So, thanks, it's only
21 taken six years, or eight years, or whatever it's
22 been that I've been pounding on the table about
23 it.

24 I've also been asking for blending and
25 storage infrastructure for biodiesel. I mean,

1 biodiesel, I think there's a strong argument that
2 it's been doing a big part of the heavy lifting,
3 a little more than 20 percent of the carbon
4 reduction under the Low Carbon Fuel Standard.
5 And so, by my calculations that's about a 3X
6 return on the investment dollars from this.

7 And I think one of the main stumbling
8 blocks for larger implementation of biodiesel in
9 the State is blending and storage infrastructure.
10 Only about 25 or 30 percent of existing
11 California bulk fuel terminals and racks are
12 capable of blending. And I think with a minimum
13 investment from the State and potentially this
14 program into that infrastructure it would send a
15 really strong message to the industry that we're
16 serious about this. And I think you'd see an
17 incredible return on that kind of investment.

18 So, it's something to continue to
19 consider, I think. Thanks.

20 COMMISSIONER SCOTT: Thanks.

21 Joy and then Claire.

22 MS. ALAFIA: Okay. Thanks. So, just a
23 couple comments. I'm really delighted to be here
24 today. Coming here a few years ago we were
25 talking about basically fossil-derived propane.

1 And in light of Jim's presentation, I just want
2 to make sure -- I'm sorry, is it Bill? Bill.
3 Sorry about that. All Payer is one of the
4 refineries that we've been looking at for
5 producing biopropane. So, they have the
6 capability, they have all the things, and the
7 things, and we're just hoping to get the right
8 incentive. So, we're working with CARB and the
9 Low Carbon Fuel Standards, an inclusion for
10 biorenewable propane. And really just need the
11 support on many fronts, and from this group it
12 would be the funding to make this a reality in
13 the marketplace.

14 Propane offers low NOx, low particulate
15 matter. It's particularly important in San
16 Joaquin AQMD.

17 A very big market for propane is school
18 buses. Biopropane is completely fungible with
19 fossil propane, so it presents an opportunity to
20 have a very huge impact without a large
21 investment when you're looking at the greenhouse
22 gas emissions. Thanks.

23 COMMISSIONER SCOTT: Thank you.

24 I have Claire and then Jan.

25 MS. JAHNS: Thank you. I appreciate the

1 references to the tree mortality state of
2 emergency in the Sierras that were in this
3 report, because that's something I think I had
4 mentioned last round as well. And I think it's
5 right that that's been identified as a ready
6 feedstock looking for utilization pathway. And
7 looking at climate policies, existing and
8 emerging, both supported by the California Cap
9 and Trade climate investments, as well as other
10 sources. We're expecting that feedstock to grow
11 as we increase the rate of active forest
12 management.

13 And so, I guess I have two questions.
14 One is I know that there has been a report
15 underway, I've been speaking a little bit with
16 Mr. Kinney about that, for the last couple of
17 years looking at kind of sustainable harvest of
18 forest biomass for fuels.

19 So, I'm wondering if there has been any
20 early feedback from that report or what the
21 status might be.

22 And then, the second question is what
23 sort of outreach have you done or might you do as
24 you look at putting together the solicitation to
25 figure out how to maximize effectiveness to draw

1 on the forest biomass, as well?

2 Because I know working in these issues
3 you get into issues of forestry, and legal issues
4 there, and so it might be helpful to work with
5 some of the folks who are experts in that area.

6 COMMISSIONER SCOTT: Bill, do you have a
7 status update on the report?

8 MR. KINNEY: Sure. So, we've received
9 the reports from all of the task members. This
10 project was approximately two and a half million
11 dollars over, I guess, six years, five years.

12 And probably two dozen principal
13 investigators, plus the technicians and so on.

14 So, 12 -- 11, excuse me 11 technical
15 tasks. So, it was a complex and inter-dependent
16 set of work plans that had to be executed. And
17 that was an ambitious goal.

18 We do have, in the report, the Task 12
19 Report is an attempt to integrate all of the
20 information from the different tasks.

21 We're hoping to get some of these task
22 reports out in the near future. And so, we're
23 just trying to sort of clean things up a little
24 bit.

25 And part of the problem was that some of

1 the tasks were dependent on results from the
2 other tasks and the timing of that wasn't always
3 optimal as we tried to finish up, bumping up
4 against our deadline, our funding deadline.

5 So, we're just seeing how we can patch
6 together the few little pieces that we need to
7 complete the circle and we're hoping to get some
8 stuff out in the very near future.

9 COMMISSIONER SCOTT: Thanks.

10 And I think to your question on outreach,
11 we would love to call on you and others around
12 the Advisory Committee table to help to make sure
13 that -- I think you're right. I'm not sure that
14 our biofuels list serve, which will certainly get
15 the information about pre-solicitation workshops
16 and things like that, but it may not capture that
17 broader set of forestry folks and others that
18 you've raised. And so, if we can be creative and
19 think about if there's a list serve that you can
20 also share it with, or if there are folks that
21 you would like us to contact, and add, and reach
22 out to I think we'd be delighted to do that.

23 MS. ALAFIA: And I guess it's not just
24 distribution, but rather creating the
25 solicitation. What is the process for that?

1 COMMISSIONER SCOTT: So, we typically do
2 that in what we call our pre-solicitation
3 workshops. And the staff will present what their
4 best ideas are in the space based on, you know,
5 information that they've gathered, and research,
6 and other things that they do.

7 But then we will hear back from experts
8 in the field about are there things that we're
9 missing? Are there things that we should tweak?
10 Are there things that we should include? Should
11 we write it with these types of criteria in mind?
12 Should we write it with those other types of
13 criteria in mind?

14 And they really do help and give us
15 really good feedback on what that solicitation
16 ought to look like. Is there an entire category
17 -- hopefully, there's not. But, you know, is
18 there an entire category that we're missing that
19 really needs to be included? Those pre-
20 solicitation workshops are where we get a lot of
21 that information in from experts all around the
22 field and that's what we use to then help design
23 our solicitations.

24 Is that a fair description?

25 MR. KINNEY: It's a fair description.

1 COMMISSIONER SCOTT: Yeah, so that's the
2 place to have folks engage.

3 MS. ALAFIA: Thank you.

4 COMMISSIONER SCOTT: You're welcome.

5 I have Jan and then Joel.

6 MS. SHARPLESS: Yes, thank you. I, too,
7 think the staff has done a great job in this area
8 and I'm just trying to track how we're trending.
9 We've been at this for ten years so how are we
10 doing, right?

11 COMMISSIONER SCOTT: Uh-hum.

12 MS. SHARPLESS: In terms of meeting our
13 goals. So, this is one of the categories that
14 we're doing an increase in and I'm wondering if
15 that increase is partially driven by the fact
16 that there's more maturity in this area than
17 we've had since the beginning. So that now we
18 have more interest, more demand, more maturity in
19 transforming the industry. Is that a correct
20 sort of reading of what's happening in the
21 program?

22 MR. KINNEY: Well, there's never enough
23 money, right.

24 MS. SHARPLESS: Oh, sure.

25 MR. KINNEY: We've always -- we've been

1 consistently over-subscribed from the very first
2 solicitation. So, we have other stakeholders who
3 would like to benefit from our program. So,
4 yeah, I think to some extent the maturity of the
5 industry. We're hoping to do this demonstration
6 solicitation in the near future, small scale, to
7 develop some of the emerging technologies,
8 including higher alcohols, to respond to Steve's
9 question.

10 But yes, it's a matter that we've
11 actually -- I don't know, I guess I can't comment
12 on that. But anyway --

13 MS. SHARPLESS: I would just say that
14 looking at Table 6, on page 22, which is one of
15 the NREL analyses that the fuel production area
16 is one of the biggest areas where we gain
17 petroleum displacement and global climate change
18 reductions.

19 And so, this seems to be a really
20 important area to put our funding in, if we do
21 the solicitation and take into consideration some
22 of the comments that have been made by those who
23 are the stakeholders in this area. I really
24 support funding in this area.

25 COMMISSIONER SCOTT: Thank you.

1 I have Joel and then Bonnie.

2 MR. ESPINO: Thank you for that
3 presentation. So, I think this is just for me to
4 try and understand here. This question or this
5 comment, followed by a question, I think is just
6 my lack of sophistication around the ARFVTP
7 scheme here.

8 But it seems to me that there seems to be
9 some sort of conflicting objectives from the
10 State. And again, I'm more familiar with the ARB
11 process, so maybe that's what's skewing my
12 comments here.

13 But, you know, we have these climate and
14 air quality goals that we're all trying to meet
15 collectively as a State. You know, I think as a
16 social justice advocate I'm concerned about the
17 disproportionate pollution in local communities
18 of color from extractive and refining sources of
19 energy, right.

20 And I think it's well documented through
21 studies by the State, and other independent third
22 parties that we need to electrify our
23 transportation sector like, you know, decades ago
24 to meet our climate goals, right. And so,
25 there's an exponential increase of

1 electrification.

2 So, I guess my question and again, I
3 think this is my not understanding the history of
4 this program. But is there a long-term strategy
5 that the Energy Commission has around ensuring
6 that, you know, in the short term these fuels do
7 have a purpose, right, in terms of reducing our
8 GHGs and helping us there?

9 But I think, increasingly, we're going to
10 have to sort of ramp down these types of
11 investments and increase our investments around
12 electrification in order to meet those goals.
13 And I think that that's -- I mean, maybe I'm just
14 coming from the ARB, but I think that that's a
15 consensus among lots of experts.

16 And so, I'm wondering if there's been
17 discussion around that within the Energy
18 Commission and within this Advisory Committee
19 around what's the long-term vision there of
20 ramping down on this investment category and sort
21 of increasing on the other ones around
22 electrification, since it's starting to become a
23 lot more viable, now?

24 COMMISSIONER SCOTT: Yeah, I think that's
25 a fantastic question. The history of the program

1 is that the Legislature directed the Energy
2 Commission to put the funding into a broad
3 portfolio of fuels and vehicle technologies. I
4 think that you see us transitioning from -- to
5 biofuels that are the lowest carbon intensity
6 biofuels that we can find.

7 The idea is for those to go into, you
8 know, your internal combustion engine that's not
9 transitioning to zero-emission as quickly as we
10 would like, but you get benefits by using those
11 cleaner fuels.

12 And we're also looking with those cleaner
13 fuels in some of the areas where, you know, on
14 the light-duty side we've got the hydrogen fuel
15 cell vehicles, we've got batteries, we've got
16 plug-in hybrids.

17 On the heavy-duty side, and airplanes,
18 we're not allowed to fund stuff that's
19 necessarily off road, because this comes from an
20 on-road fee. But that's the kind of place where
21 we're looking to put these fuels, in some of the
22 areas where we don't see the zero-emission
23 technologies coming as quickly as we'd like to
24 see. So, we feel like it goes hand in hand.

25 This Committee, I don't think, not in the

1 four years that I've been here, had a
2 conversation about is there a point in time where
3 the Committee might want to recommend moving out
4 of biofuels entirely and moving all into the
5 zero-emission technologies?

6 We have not had that conversation. But
7 what we're trying to do is balance kind of that
8 short-term near term with the longer term. And
9 we're also trying to hit what the Legislature
10 asked us to do in terms of kind of putting
11 together a broad portfolio.

12 So, I don't know if it specifically
13 answers your question, but that's a little bit of
14 the background on what our thinking here is.

15 MR. ESPINO: Oh, yeah, that's really
16 helpful. Thank you for that.

17 COMMISSIONER SCOTT: Yep.

18 Bonnie and then Steve.

19 MS. HOLMES-GEN: Thank you. Well, I
20 appreciate the previous question and it is really
21 important. Every single time we meet we talk
22 about this push and pull between the long-term
23 goal and our focus on that, and trying to make
24 sure that we're putting enough money in key
25 categories, like electrification, hydrogen which

1 is included in electrification, to make sure that
2 we're really breaking down barriers and making
3 the kind of progress we need.

4 And so, it's always a struggle to provide
5 some near-term solutions, but also make sure that
6 we are doing enough to really ramp up our
7 progress. Because climate change is urgent and
8 we need to make sure -- we have a lot of work to
9 do. We are pushing the rock up the hill, but we
10 still have a lot of pushing to do. We've made
11 some progress, but a lot of pushing to do.

12 So, I'm always concerned about those
13 issues, also. And I know we're always trying to
14 get different metrics to better measure what
15 progress have we made with this money? I think
16 you've provided a lot of really helpful metrics
17 as we look back over the ten years, and looking
18 at where has all this money gone? Looking at the
19 relative mix of -- you know, relative spending on
20 one category versus another. I think we've done
21 pretty well.

22 But I do think we need to keep very
23 focused on, and I think we'll talk about it more
24 in the next category, you know, are we doing
25 enough to really push electric transportation

1 forward given what we know we need to do, even in
2 the next five years.

3 But on this category, related to that I'm
4 very happy to see that you've included the
5 renewable hydrogen, because renewable electricity
6 and renewable hydrogen is extremely important to
7 make sure that we're driving enough -- we're
8 driving our progress not just at the tailpipe,
9 but that we're reducing emissions, greenhouse
10 gas, and criteria pollution emissions throughout
11 the fuel cycle. So, I really appreciate the
12 inclusion of that.

13 And I was happy to see that we've
14 achieved a goal of over 33 percent renewable
15 hydrogen across the board. It sounds like not at
16 every station, but across the board, which is
17 awesome considering I know that was debatable at
18 one point how quickly we could get to that point.

19 So, I guess one question is when could we
20 get to 100 percent renewable hydrogen? That's
21 one question. I mean, have you looked at that at
22 these stations? And I know that you've boosted
23 the funding in this category partly to help fund
24 renewable hydrogen, so I appreciate that.

25 But are there any metrics for how quickly

1 could we get there?

2 COMMISSIONER SCOTT: I might pause that
3 one until we get to the hydrogen discussion.

4 MS. HOLMES-GEN: Yeah, it's kind of in
5 both categories.

6 COMMISSIONER SCOTT: Yeah.

7 MS. HOLMES-GEN: Yeah, okay.

8 COMMISSIONER SCOTT: And our hydrogen
9 team has the details on that.

10 MS. HOLMES-GEN: Okay, that would be
11 great.

12 My second question, if you don't mind a
13 real quick question?

14 COMMISSIONER SCOTT: Please go ahead.

15 MS. HOLMES-GEN: You know, I just wanted
16 to comment. We're trying to get, of course, as
17 much GHG reduction as possible. I mean that's
18 the whole purpose, GHG and air pollution benefit
19 is the whole purpose of doing this.

20 I know we have estimates in here for the
21 different pathways that we're funding. And I
22 think that it seems like those are mostly based
23 on the LCFS work that's being done.

24 And I'm just curious, when might we get a
25 more clear understanding of the GHG emission

1 reductions from the fuels in this category?
2 Because it seems like these are not necessarily
3 completed LCFS pathways. I think they're
4 underway and you're using estimates. So, I
5 wonder if you have any comment on when we would
6 have a more clear understanding of the average
7 GHG reduction, for example from biomethane or --

8 MR. KINNEY: So, we've done some of those
9 calculations. All right. They're complicated
10 and we haven't worked them to the level where we
11 want to put them in, you know, a publication at
12 this point.

13 But we have definitely looked at the cost
14 effectiveness of all of our different fuel types
15 and the investments we've made in them, and what
16 our return is per dollar for, you know, how many
17 tons of GHG emission reductions do we get per
18 dollar and so on.

19 So, we've already started that process
20 and I'm hoping to be able to move forward on that
21 within the next year.

22 MR. ORENBERG: Yeah, also, so the actual
23 greenhouse gas emission reductions from each
24 project or fuel type that's, of course, a
25 function of both the carbon intensity of the fuel

1 and the production volume of the fuel.

2 It is up to the Air Resources Board and
3 the applicant to get that pathway certified. I
4 believe, I assume they're all going forward with
5 that. Right, Bill?

6 MR. KINNEY: What's that?

7 MR. ORENBERG: Are all of our applicants
8 going forward with an LCFS pathway for their
9 fuels?

10 MR. KINNEY: Well, we try to, yeah.

11 MR. ORENBERG: Yeah. So then, as far as
12 the volume goes that's a little trickier. We
13 will have a nameplate capacity of all of these
14 facilities, which is the maximum production
15 capacity.

16 But the biofuel production facilities
17 frequently don't actually produce at their
18 nameplate capacity. They produce based on how
19 much feedstock they can get and how much fuel
20 they can actually sell. So, that's where it
21 becomes a little trickier and we need to track
22 the actual fuel production.

23 MS. HOLMES-GEN: Thank you. I just
24 wanted to comment that we do need to track this
25 closely. You know, it's a number in a chart, but

1 it's not -- these are not settled numbers. I
2 mean this is all under investigation. So, we do
3 need to track this closely and understand as we
4 go forward what are the benefits we're realizing
5 from these different categories.

6 COMMISSIONER SCOTT: I think that you
7 will also see -- so, the chart here, I think
8 you're referring to Table 6 on page 22, and maybe
9 Table 7 on page 23 of the report. This is our
10 work that we have done with NREL. We're using
11 the best information that we have available to
12 us.

13 I take your point, as does the team, very
14 seriously that as the numbers change that we get
15 -- we see from ARB and from others that this
16 needs to be updated accordingly.

17 But these are kind of the best numbers
18 that we have based on the projects that are
19 funded right now. And maybe we need to pull some
20 more of the benefits from our benefits report
21 that's in the IEPR, forward into this document.

22 It's a little bit of a balance between
23 trying to keep it a little bit of a higher level
24 and a summary versus pulling in -- because the
25 benefits report is also another, you know, solid

1 hundred pages or so. But, you know, we can pull
2 some of that information forward.

3 The other thing that we did last year,
4 maybe it was two years ago, that I think we would
5 be happy to do again is to walk through those
6 benefits and how we're calculating them, continue
7 to get great ideas from you all about other ways
8 to calculate things, other ways to present the
9 information.

10 There are, in my opinion, some great
11 benefits from this program and we need to think
12 really carefully about how do we tell that story
13 and how do we highlight those because it's pretty
14 cool.

15 But we're doing the best we can to get
16 the information from ARB and others to have
17 pretty -- I mean, I think these are pretty robust
18 numbers. But I do take your point that some of
19 that may change based on updated analyses from
20 ARB and others.

21 MS. HOLMES-GEN: Thanks. And I know it's
22 always easy to pile more work on people. But I
23 do think it would be helpful to fill out a little
24 bit more on the benefits section. Because as you
25 said, there's a lot to brag about and it would be

1 great to just pull some of that in here.

2 And I think we all need to talk about how
3 we can help get the word out about the tremendous
4 benefits that we are achieving from this program
5 and these projects. And I would be happy to
6 include that in the discussion, too.

7 COMMISSIONER SCOTT: Great. Sounds good.

8 I have Steve and then Tyson.

9 MR. KAFFKA: I just am so struck by these
10 discussions at how challenging a balancing act
11 policymaking in this area is because there are
12 benefits and advantages for a number of different
13 strategies and pathways, obviously, and as well
14 as costs.

15 And I think it's also, if you start
16 taking into account the cost to the public, the
17 financial cost and so on, it adds another
18 element.

19 But I did have a more specific comment.
20 And I know that there's some interest in
21 renewable gasoline and renewable diesel that
22 might be made, for example, from biomass
23 pathways.

24 But thermochemical pathways, gasification
25 pathways have, as far as I remember, still a

1 barrier in policy on the level of emissions that
2 are possible from such technologies. And I'm
3 wondering if I'm still correct about that and if
4 those represent a significant policy barrier to
5 increased levels of gasification adoption.

6 In other words, there's very -- I think
7 there's almost zero-emissions possible from such
8 pathways. It's somewhere in statute. Whether
9 the Energy Commission has taken that into
10 account?

11 MR. KINNEY: So, could you rephrase the
12 last part of that, I'm sorry?

13 MR. KAFFKA: It's my understanding that
14 there are particular requirements for
15 gasification technologies that their emissions be
16 zero. And that represents a difficult obstacle
17 for any transformation process and a particular
18 barrier to thermochemical conversion. And I'm
19 not sure if that's still in policy or still
20 effective in policy?

21 MR. KINNEY: I'm not aware of it. We
22 don't -- in evaluating thermochemical
23 technologies, we've never considered that so I
24 don't know.

25 COMMISSIONER SCOTT: We'll have to look

1 into that. I just kind of checked with the folks
2 on both sides of me and we don't know either.
3 So, we'll do a little recon and see if we can
4 circle back with you on that.

5 MR. KAFFKA: It's come up in the past in
6 MSW conversion technology discussions,
7 particularly.

8 MR. KINNEY: Right.

9 COMMISSIONER SCOTT: Okay.

10 I have Tyson and then Brian.

11 MR. ECKERLE: Great. Well, thank you
12 very much. Obviously, this is a really important
13 category for lots of reasons. I think I was
14 particularly excited to see the renewable
15 hydrogen component in there. I think we're
16 seeing there's a gap between where we are going
17 to be with stations and where the demand is for
18 cars, but also on the supply side.

19 And I think the important signal that we
20 need to send to the market now is we want our new
21 supply to be renewable hydrogen.

22 And I think, Joel to your point, you
23 know, connecting to the zero-emission future I
24 think that's -- we're building towards the zero-
25 emission future. There's going to be stops along

1 the way but, ultimately, you have to get to that
2 place. I think that's where this connection is.
3 We have a lot of renewable resources in the form
4 of biomass that can be leveraged.

5 And so, I think to throw out an idea that
6 I haven't thought through completely, but one
7 interesting thing that might be interesting for
8 the staff to look into is the connection between
9 the biofuel investments of today and how those
10 can be leveraged to turn into, you know, hydrogen
11 resources tomorrow. In terms of, you know,
12 future proofing. And so, just something to throw
13 out there.

14 But definitely, I think this is a great
15 and important category.

16 COMMISSIONER SCOTT: Great, thank you.

17 Brian and then Eileen.

18 MR. GOLDSTEIN: I want to echo Tyson's
19 comments about the inclusive of renewable
20 hydrogen in this sector. I think in the past we
21 were talking about that really is an emerging
22 opportunity. And now that we see several
23 stations utilizing, you know, on-site production
24 of renewable hydrogen it's no longer emerging,
25 it's here.

1 And, you know, Tyson also mentioned that
2 we're not only facing kind of a gap in
3 infrastructure, but we're facing a gap in supply.
4 Even whether we're talking about conventional
5 hydrogen or renewable at this point.

6 So, in the research that we're doing at
7 EIN, you know, our fundamental thesis is start
8 now. This is something we really need to work on
9 because it's going to take a little while to
10 develop. And we're going to see this influx of
11 cars over the coming years.

12 So, you know, the report mentions, under
13 Alternative Fuel Production and Supply, the
14 extent to which we already have hydrogen
15 production, you know, for the stations that the
16 CEC has funded.

17 But it seems like the funding for the
18 production on those has come out of the actual
19 infrastructure tranche for hydrogen. Is that
20 correct?

21 MR. ORENBERG: Sorry, could you repeat
22 that?

23 MR. GOLDSTEIN: Well, I'm not seeing
24 where -- it doesn't look like the Alternative
25 Fuel Production and Supply category, and the

1 funding allocated for that category has gone, up
2 until this point, to renewable hydrogen.

3 MR. ORENBERG: That's correct.

4 MR. GOLDSTEIN: And so, the renewable
5 hydrogen production that we already have seems
6 like it's coming out of the infrastructure
7 tranche?

8 MR. ORENBERG: As far as the specific
9 funding sources, I believe last year -- well,
10 last year we did have renewable hydrogen
11 production and dedicated facilities included in
12 the Emergent Opportunities allocation.

13 As far as the on-site electrolyzers at
14 some of the renewable hydrogen stations, I can't
15 say for certain whether or not they were funded
16 by the ARFVTP funds. If they were funded by
17 ARFVTP funds, they would have come from the
18 Hydrogen Refueling Infrastructure allocation.

19 MR. GOLDSTEIN: Gotcha. So, there were a
20 couple of workshops this year which would go, you
21 know, I guess towards last year's funding on
22 renewable hydrogen solicitation. Is that funding
23 still earmarked from the past year's budget or is
24 that carrying forward into next year?

25 MR. ORENBERG: The workshops that were

1 already held about renewable hydrogen production
2 would be for using fiscal year 2017-2018 funding,
3 which was the Investment Plan we were developing
4 last year.

5 MR. GOLDSTEIN: Oh, I see.

6 MR. ORENBERG: And so, it would have come
7 from the Emerging Opportunities category.

8 MR. GOLDSTEIN: Okay. And that's still
9 available for those projects it just hasn't been
10 released, yet?

11 MR. ORENBERG: Yes, I believe so.

12 MR. GOLDSTEIN: Okay, great. And is
13 there guidance for production and supply as far
14 as which types of fuels that would be allocated
15 to in this budget or is it just kind of the
16 overall funding number that we have here, and
17 that will be determined later?

18 MR. ORENBERG: So, the former Biofuel
19 Production and Supply category, and the proposed
20 Low Carbon Fuel Production and Supply Category
21 does not separate out based on fuel type or
22 production stage. The entire allocation is open
23 to any low carbon, or renewable, or biofuel that
24 is included in the Investment Plan.

25 And how is that process determined moving

1 forward?

2 MR. ORENBERG: Staff analysis, pre-
3 solicitation workshops and engagement with the
4 public.

5 MR. GOLDSTEIN: Okay. All right, thank
6 you.

7 COMMISSIONER SCOTT: Okay. I have Eileen
8 and then John. And welcome, John.

9 MS. TUTT: Thanks. Eileen Tutt with the
10 California Electric Transportation Coalition.
11 This is actually more of a comment to staff, and
12 maybe a second to Bonnie and a few others.

13 I really think it's going to be important
14 to have some sort of follow-up workshop with the
15 Advisory Committee on how the benefits are
16 calculated and even what they are comparatively
17 between the projects.

18 I think the only thing I would caution is
19 there's some -- there's actually really -- well,
20 I'm sure you're going to be surprised to hear
21 this, but that's sort of really hard to do.
22 Because it's hard, like what is the benefit of a
23 hydrogen or an electric vehicle fueling station,
24 for example? I don't know how you calculate
25 that. But I'd love to get more up to date on

1 that.

2 And then, also, I think things like
3 workforce development, the investment by this
4 agency is really, really important. And it's not
5 clear to me how you would calculate the benefits,
6 especially from an emissions perspective.

7 Although, I think that it's a critical
8 component of this plan. So, I want to be -- I
9 mean I want to be really respectful of how
10 challenging that is, but I also am kind of
11 interested in how it's done, and then in the
12 relevant benefits of the different kinds of
13 vehicle types or fuel investments. Not, you
14 know, just because I don't -- yeah, everybody
15 does it a little differently.

16 And I know we have, at CalETC we have our
17 own numbers, which are the right ones. But we're
18 happy to share those with you.

19 But anyway, I just want to put it out
20 there that I think we could have a whole meeting
21 just on that and it would be incredibly valuable
22 for the Committee. So, thank you.

23 COMMISSIONER SCOTT: Thank you. And as I
24 said, sure, we'll be happy to do that. So, we'll
25 figure out when to make that happen. I'm going

1 to guess given the holidays it will probably be
2 early next year. But we will certainly put that
3 together. We do have that I information and we'd
4 be happy to walk you through how we put together
5 the calculation. And then, as I said, you've got
6 great information, I know others have provided
7 information as well about how we can calculate
8 things, how we can talk about the benefits.
9 We're happy to get that input, as well. So,
10 thank you for that.

11 John.

12 MR. SHEARS: Good morning, everyone.

13 COMMISSIONER SCOTT: Good morning. Oh,
14 and let me have you speak into the mic so the
15 folks on the WebEx can hear you.

16 MR. SHEARS: Can you tell I'm frazzled?
17 No rest for the wicked.

18 Good morning, every one. John Shears
19 with the Center for Energy Efficiency and
20 Renewable Technologies. My apologies for being
21 late. I listened in on this morning's discussion
22 as much as possible.

23 I want to thank the staff, again, for you
24 know -- my standard line, working with the
25 program that includes the kitchen sink.

1 I just wanted to touch on a couple of
2 points. You now, Steve recently just raised this
3 issue about gasification. As it turns out, Steve
4 and I had this discussion in another public venue
5 a few days ago and I actually was checking Public
6 Resources Code last night.

7 You know, Lara 498, from 2014, redefined
8 conversion to include organics. But the problem
9 is the definition of gasification in the Public
10 Resources Code is as I represented it the other
11 day. Which, basically, so -- so, you know,
12 there's been a tweak in terms of feedstocks, but
13 the process is still defined problematically the
14 way it's been defined for a decade or more now.
15 So, just to clarify on that point.

16 And then, to also refer back to our
17 organization's shared concerns over, you know,
18 working to minimize dis-benefits and maximize
19 benefits in disadvantaged communities. We're
20 very sensitive to those issues. And as tension,
21 which is also, you know, the tension of the
22 strategy overall for the plan of, you know, what
23 do we do near and midterm versus what we need to
24 be doing in terms of sort of helping to blunt
25 risk, to bring in venture capital and investor

1 capital into the space to develop the suite of
2 solutions. Because we don't know -- even though,
3 you know, EVs and fuel cell vehicles, and
4 hydrogen look like, you know, the zero-emission
5 solution that we can foresee right now, we still
6 need to sort of keep other things going because
7 none of us really has a crystal ball.

8 And there are other things going on. I
9 know, Steve, you touched on the point, you know,
10 we have this problem now with the biopower plants
11 shutting down and the fate of, you know, orchard
12 trimmings and things like that in the valley, let
13 alone what's happening with the State and
14 National Forests.

15 Where we may end up going backwards in
16 terms of what happens to the fate of agricultural
17 residues. And while it's not the ideal solution
18 to use those feedstocks in power generation, you
19 know, using thermal technologies they, you know,
20 if done right can actually help improve if not,
21 you know, at least maintain. You know, avoid
22 going backwards in terms of air quality, in terms
23 of the emissions that come from that sector.

24 Another thing that I just also want to
25 point out because I think this next session we're

1 going to have a lot of discussion around
2 legislation that's going to try and be far
3 reaching, and sort of set out an aggressive
4 vision for the State around transportation.

5 We have to be careful that in any of our
6 attempts to move forward in the future we don't
7 create the Osborne effect, which refers back to
8 the first portable computer, successful computer
9 in the world.

10 And they basically announced that they
11 were going to bring out this next super duper
12 portable machine. And what happened was,
13 basically, all the business dried up. They
14 didn't have any cash flow coming back in and they
15 went bankrupt.

16 If we overreach, we might send a signal
17 out to the investor community where they just
18 say, well, that's just -- you know, we're not
19 going to take that risk on to spend hundreds of
20 millions or billions of dollars in the
21 transportation space. I'm not just talking
22 fuels, I'm also talking the technology companies
23 that are building the actual vehicles, whether
24 on-road or off-road.

25 We risk, you know, basically setting an

1 impossible task and their shareholders and
2 investors will just say we're not going there.
3 And in which case we end up with nothing.

4 So, for all of this work that we've done
5 in terms of this fantastic infrastructure that
6 California has built here to work, you know, with
7 regulations sort of being a stick, but also
8 incentive programs that work as the carrot to
9 work to move industry forward, we need to make
10 sure that we don't -- in trying to do what we
11 need to do that we reach too far too soon. So, I
12 just wanted to add that in there. So, that's my
13 initial opening comment. Thank you.

14 COMMISSIONER SCOTT: Okay, thank you.

15 I have Peter and then Thomas.

16 And before you start speaking, Peter, let
17 me just note if you'd like to make a comment on
18 biofuels, please fill out a blue card and get it
19 to our team. I don't have any, yet. But if
20 you'd like to make a comment, please do so.
21 Please fill out your blue card and bring it up to
22 the team and that's how we'll know.

23 Peter, please go ahead. And then, you'll
24 be followed by Thomas.

25 MR. COOPER: Yeah, I just wanted to

1 support the idea of having a meeting or a
2 gathering to discuss the equity, looking at the
3 different fuel types and the benefits for the
4 different fuel types specifically as they relate
5 to workforce development, equity and jobs issues.

6 At the Employment Training Panel, we're
7 currently in the process of having a third party
8 look at our program and look at how it has
9 benefitted some of our contractors that will
10 include the funding that we received from the
11 Energy Commission. So, that might also be
12 something that -- well, I would be happy to bring
13 that forth in the meeting and participate in the
14 discussion on the benefits by fuel type, for
15 workforce and equity issues.

16 COMMISSIONER SCOTT: Thank you.

17 Thomas?

18 MR. LAWSON: Thank you. I had a couple
19 of just quick comments related to RNG projects,
20 but also projects in general.

21 I think one of the things that is
22 important to remember, as we're doing this every
23 year and dealing with funding plans is it takes a
24 while for these projects to get off the ground,
25 right. And we've got quite a bit of activity

1 happening every day in and around planning, and
2 zoning, and permitting, and things like that.
3 But I think that there are quite a few companies
4 and groups that are working on trying to meet
5 some of these goals by creating projects.

6 And, obviously, the CalBio Energy Project
7 is something that's taken quite a bit of time to
8 get off the ground and that's just one of a few
9 projects in the hopper relating to renewable
10 natural gas and how do we deal with dairies and
11 their methane.

12 And so, I think that while we want to be
13 at a certain place at a certain time, we do have
14 to allow those projects to mature and to produce
15 the results that they're set out to do.

16 So, I just wanted to caution folks on
17 that.

18 And then, I have a housekeeping question
19 that I probably missed earlier. But when are the
20 comments due on this Draft Staff Report?

21 COMMISSIONER SCOTT: November 17th.

22 MR. LAWSON: Okay, great. Thank you.
23 That was it.

24 COMMISSIONER SCOTT: You're welcome.

25 Let's go to Steve and then Joe. And

1 then, I'm going to ask if there's any burning
2 questions or discussion points, we should
3 definitely get them out there. But then, I want
4 to be mindful of the fact that we do have other
5 categories to talk through.

6 Steve, please go ahead.

7 MR. KAFFKA: Yeah, I wanted to say, you
8 know, we had some discussion about whether --
9 what's the best strategy for the Energy
10 Commission with respect to these funds for the
11 future, going forward. I want to also say that,
12 you know, the EDs are very exciting and it looks
13 they're really on the verge of breaking through.
14 And they are zero-emission vehicles. And I'm
15 looking forward to getting one.

16 But one of the side effects of EVs has a
17 significant effect on employment. You don't need
18 car dealerships particularly, at least in the
19 form that we have them. You don't need gas
20 stations. You don't need repair shops. You
21 don't need mechanics.

22 So, it will be a very disruptive
23 technology as it comes along. And I think the
24 idea of keeping those kinds of issues in mind is
25 also important as we think about kind of mid to

1 long term transition strategies. It will take a
2 while for the economy to make up for rather
3 substantial impacts on basically the way of life
4 as we know it now, that are related to our
5 vehicles.

6 COMMISSIONER SCOTT: Joe.

7 MR. GERSHEN: Yes, and I will be brief.
8 I just wanted to commend John and his statements.
9 I think I agree with that wholeheartedly. I
10 think it's important not to overreach. I think
11 that, obviously, the State can't support all the
12 investment. We want to get private equity and
13 private investment involved.

14 And, you know, sometimes some of these
15 folks look at this and they go, you know, we're
16 not going to march off the cliff and risk
17 billions of dollars on something that's maybe
18 questionable.

19 So, it's important to sort of keep things
20 that are working funded well, and then build on
21 that. And again, you guys are doing a great job.
22 But just, I think, John made a very salient point
23 there. Thanks.

24 COMMISSIONER SCOTT: Thanks.

25 I have only one comment from the public

1 on the biofuels space. This is from the WebEx.
2 It is from Linda Erata, from the Kern Council of
3 Governments.

4 And she says, "With the closure of the
5 cogeneration facilities is the Energy Commission
6 looking at diverting the municipal ag and
7 forestry wood waste to biofuel and/or hydrogen
8 fuel production? The cogen facility in Delano
9 used to take in 310 tons per day of wood waste
10 and green waste. Looking for solutions and
11 investment. Producing electricity and hydrogen
12 costly and full need not met."

13 So, I don't know if anyone has a response
14 for that, but that's the comment that we have
15 received from the public on the biofuels.

16 Do I have anyone else online?

17 MR. ORENBERG: Well, I was just going to
18 suggest that might be a comment for a
19 solicitation workshop.

20 As far as the specific projects we fund
21 and the specific solicitations we release, it's a
22 little too detailed for this discussion. But I
23 don't believe there's anything in the Investment
24 Plan that would preclude such a project.

25 COMMISSIONER SCOTT: Thank you. Do we

1 have any other on WebEx? We do?

2 MR. KINNEY: Yeah, so I did neglect to
3 sort of detail all of the aspects of that forest
4 biomass sustainability project that Claire
5 brought up.

6 But, you know, several key tasks are
7 looking at for the economics and logistics of
8 siting biofuels facilities throughout the Sierra
9 Region to produce biofuels. So, we have some of
10 that data that we're going to be bring out soon.

11 COMMISSIONER SCOTT: Okay, great.

12 I'm looking to see do we have any --
13 okay. So, that is it for public comment on the
14 biofuels. And, of course, please feel free to
15 submit comments to us in writing. We look
16 forward to receiving those from you.

17 What we'll do right now is we will go on
18 our lunch break. It is 12:00, so please come
19 back by 1:00 p.m. and we'll pick up the
20 conversation on the rest of the categories.

21 On the front table out there, if you are
22 looking for places to go there's a list of
23 restaurants that are nearby the Energy
24 Commission.

25 Thanks everyone, see you at 1:00.

1 (Off the record at 12:02 p.m.)

2 (On the record at 1:00 p.m.)

3 COMMISSIONER SCOTT: Hello, everyone.

4 This is Commissioner Janea Scott. We are waiting
5 for just a few more of our Advisory Committee
6 Members to return back from lunch. As soon as
7 we've got a handful more of them we will get
8 going. So, just for those of you who are
9 promptly back at 1:00, we'll need a few more
10 folks in the room and then we'll get going.

11 (Pause)

12 COMMISSIONER SCOTT: Okay, we have gotten
13 some Advisory Committee Members back in the room
14 and at the table. So, we are going to go ahead
15 and get going again. This is Commissioner Janea
16 Scott.

17 And we are now going to turn to our
18 Electric Vehicle Charging Infrastructure
19 discussion. And we will start with a brief
20 presentation by Brian Fauble.

21 MR. FAUBLE: Thank you, Commissioner.
22 Good afternoon, everybody. My name's Brian
23 Fauble. I'm staff with the Electric Vehicles
24 Unit, in the Fuels and Transportation Division.
25 And today I'll be giving you an overview of the

1 types of projects we've been working on.

2 I wanted to begin with the slide that
3 shows the types of electric vehicle projects the
4 Energy Commission has been involved in over the
5 years.

6 In 2010, we partnered with the Federal
7 Government to install general charging stations.
8 In 2012, we focused on regional planning for
9 PEVs, deployment of EV infrastructure, and
10 upgrading the older legacy chargers.

11 In 2014, we increased the number of
12 charging stations deployed to meet specific
13 needs.

14 In 2015 and 2016, we addressed corridor
15 charging to allow -- corridor fast charging to
16 allow for border-to-border travel for EV owners.

17 And in 2017, we released our Block Grant
18 project which will release multiple targeted
19 incentive projects for EV infrastructure.

20 Primarily for the light-duty vehicle
21 sector, but expanding to others, the Energy
22 Commission has been a leader in establishing the
23 early network of electric vehicle charging
24 stations that allow major vehicle manufacturers
25 to produce cars without concern for there being

1 an established charging infrastructure.

2 To date, the Energy Commission has
3 invested over \$80.1 million for almost 8,700
4 electric vehicle charging connectors that range
5 from home charging, workplace charging, and also
6 strategic network charging along major highways
7 throughout the State.

8 It's important to note that the AFDC
9 website only lists currently available public
10 sites. The AFDC serves as a station locator tool
11 and tracks the number of available sites and
12 connectors for the number of vehicles that site
13 may be able to serve.

14 The Energy Commission, for its projects,
15 tracks both sites and connectors, but also the
16 number of actual charging stations. We have
17 1,053 sites that are already listed on the AFDC
18 or are already completed that are not yet listed
19 on AFDC.

20 244 sites are still in progress and
21 should be added once they are completed.

22 There are different levels of charging
23 stations as well, level 1, level 2 and DC fast.
24 Depending on the type of charging station there
25 are different connector standards. For example,

1 a DC fast charging station can have either the
2 CHATAMO or SAECCS, or both connectors.

3 As of October 2017, California was
4 projected to have sold just over 340,000 plug-in
5 electric vehicles. California is home to
6 approximately 46 percent of EVs deployed
7 throughout the United States.

8 Again, in 2015 we released -- in 2015 and
9 2016, we released solicitations for projects to
10 install DC fast charging stations on corridors
11 throughout the State. These two solicitations
12 added the planned 187 DC fast chargers and 129
13 Level 2 charging stations at 120 sites. These
14 sites are represented on this map by the blue
15 dots.

16 The red dots on this map do represent
17 existing and previously Energy Commission planned
18 fast chargers. So, we can kind of see we're
19 trying to fill in all of California to allow
20 border-to-border travel from Oregon to Mexico, as
21 well as to Nevada and Arizona.

22 The Block Grant Project, which we have
23 just formally renamed to the California Electric
24 Infrastructure Project, which we are calling
25 CALeVIP, is a grant agreement with the Center for

1 Sustainable Energy to design and implement
2 geographically targeted incentive projects to
3 install EV infrastructure aimed to support that
4 specific region's future charging needs.

5 The agreement currently is funded for
6 \$15.25 million and allows for up to \$200 million
7 in funding.

8 Our first project is the Fresno County
9 Incentive Project and is expected to launch in
10 December of this year. The Fresno County
11 Incentive Project has a total of \$4 million
12 available and will provide an online reservation
13 rebate system to install Level 2 charging
14 stations at public, private, and MUD sites in
15 Fresno County.

16 It's also important to note that this
17 Fresno project is coordinating with San Joaquin
18 Valley APCD on their Charge Up Program that also
19 offers rebates for charging stations.

20 Our most recent solicitation's purpose is
21 to demonstrate innovative mobility services among
22 disadvantaged communities using -- I'm sorry --
23 using zero-emission vehicles. The solicitation
24 has a total of \$3 million and four projects are
25 being awarded funding.

1 Envoy has two awards to provide car
2 sharing for affordable housing. One of those
3 projects is in the Bay Area and one is in the
4 Northern Central Valley, ranging from Yuba City
5 to Los Banos.

6 CALSTART has one award to provide
7 electric ride-hailing for college students in
8 Kerman to commute to Fresno City College.

9 And StatosFuel has one award to provide
10 car sharing using fuel cell electric vehicles in
11 the Riverside and Ontario areas.

12 In our data collection and analysis
13 efforts, we collaborate with the National
14 Renewable Energy Laboratory, NREL, who manages
15 the Nationwide Alternative Fuels Data Center.

16 We are trying to automate data collection
17 of networked EV charging stations to streamline a
18 method for network providers to provide data. We
19 also use our EVI-PRO. We use EVI-PRO, which is a
20 modeling effort to quantify charging station
21 needs for the growing of PEVs in California.

22 This includes incorporating regional,
23 county level, passenger travel data and considers
24 consumer charging behavior with higher details,
25 and the results will include charging

1 installation profiles on a county level.

2 We continue to support infrastructure for
3 PEVs by monitoring vehicle markets and consumer
4 response by evaluating electric vehicle charging
5 requirements and support infrastructure demands
6 through funding-focused efforts.

7 We work with community-based programs in
8 under-served areas.

9 And we work with utilities, regional
10 readiness planning coalitions, air districts,
11 OEMs, and many more to strategically place
12 infrastructure for deployment of adequate service
13 to support chargers and to support zero-emission
14 vehicle deployments.

15 And I tried to get that real quick for
16 you guys.

17 COMMISSIONER SCOTT: Thank you very much,
18 Brian. Let us turn to discussion amongst our
19 Advisory Committee Members.

20 As folks gear up to put their nameplates
21 up, so I know they'd like to say something, I
22 will also let you know that after this we are
23 going to do workforce training and development
24 because Peter has to leave a little bit early.
25 And then we'll go back to hydrogen.

1 So, just so folks know that after the
2 Electric Vehicle Charging Infrastructure
3 discussion we will do Workforce Training and then
4 go to Hydrogen.

5 MS. TUTT: Thank you. Eileen Tutt with
6 the California Electric Transportation Coalition,
7 CalETC.

8 So, I just want to first say that I think
9 this is probably, and from an electric vehicle
10 stand point, probably one of the best investment
11 plans that I've been a part of. And I really
12 think you've done an excellent job.

13 The funding, I think, for this EV
14 infrastructure is definitely adequate,
15 particularly given the limited funding.
16 Obviously, if there was more money, we would want
17 more. And because more is definitely needed.

18 I also really like the framing in the
19 plan around the investment in this space by
20 utilities, and VW, and EVGO, and the fact that
21 we're all coordinating because I think that's
22 absolutely essentially.

23 I also really like the MUD discussion. I
24 think it's very -- it's forward looking. And the
25 focus on autonomous vehicles is also innovative

1 and I've not seen that before. And it's clearly
2 going to be essential as we go forward.

3 I do think you might want to add looking
4 at pooling, so in addition to autonomy and
5 sharing, the pooling is where we could really get
6 some VMT reduction and emission reduction. So,
7 there's some real opportunities there. And
8 there's already apps for a really successful
9 pooling program.

10 So, I'd like to just talk to you maybe
11 offline about what's out there now, and what's
12 working and what's really innovative, especially
13 in urban areas that are highly congested and
14 polluted. So, there's some real opportunities
15 there.

16 I do think also I want to congratulate
17 you on the CALeVIP acronym. Way better than
18 ARFVTP.

19 (Laughter)

20 MS. TUTT: So, glad that that's part of
21 our Electric Vehicle Program.

22 I want to respond to something Steve
23 Kaffka said and that's about the jobs. We did a
24 jobs assessment, which I think we've shared with
25 you. Transitioning the transportation sector and

1 the light-duty sector to electrification is a
2 jobs creator. And there's a number of reasons
3 for that. There are a few job losses in the oil
4 industry. But the jobs per dollar spent in the
5 vehicle sector and in the electricity sector are
6 quite a bit higher. There are more jobs per
7 dollar spent in those sectors than there are in
8 the oil sector. So, overall, we see a direct
9 shift in jobs to the positive.

10 We also see the jobs shift, the economic
11 benefits are progressive, so low and moderate-
12 income households benefit more than wealthy -- an
13 affluent household. So, there's really
14 tremendous job benefits from shifting to electric
15 from oil. So, I want to make that really clear.

16 This maintenance issue is kind of a non-
17 issue, people. There are cost savings with the
18 maintenance, especially on the heavy-duty,
19 medium- and heavy-duty side.

20 On the light-duty side, so much of the
21 maintenance for new vehicles is around IT. Irene
22 and I were talking about this earlier. You can
23 actually buy a warranty, now, for the IT on the
24 car because it's so complex it tends to -- and
25 that doesn't matter what kind of car it is.

1 Those jobs are still going to be safe.

2 And the newer vehicles in general just
3 require so much less maintenance no matter what
4 they are.

5 The IBEW has been extremely supportive of
6 the investment by the utilities. And in part
7 because there's a lot of jobs creation for their
8 members around infrastructure.

9 So, I don't want anybody to leave this
10 room thinking that shifting to electrification in
11 any segment, whether it's light or heavy, is
12 going to harm jobs creation in the State because
13 that's just simply not the case.

14 And those are my comments for now. Thank
15 you.

16 COMMISSIONER SCOTT: Thank you. Will you
17 make sure we have a copy of that report in our
18 record, if we don't already?

19 MS. TUTT: Yes, I will send it.

20 COMMISSIONER SCOTT: Awesome, thank you.
21 Irene.

22 MS. GUTIERREZ: Thank you. Irene
23 Gutierrez with the Natural Resources Defense
24 Council. I appreciate the level of support
25 that's provided for electric vehicle

1 infrastructure in the next version of the plan.
2 I think that's really great and something that's
3 really needed in the State of California.

4 Having not participated in this forum
5 before, I'm not certain if this is the bucket of
6 funding that typically provides some coverage for
7 CVRP, if there's a shortfall.

8 But I did want to encourage the
9 Commission to sort of, looking down the pipeline
10 as we look towards the landscape or the Federal
11 incentive structure, maybe changing. There may
12 be a need in the future to help ARB cover the
13 CVRP shortfall. So, I do want to encourage the
14 Commission to preserve some flexibility and
15 reconsidering allocations on that point in the
16 future.

17 And then, something that Eileen was
18 saying on the jobs point reminded me that the
19 BlueGreen Alliance and NRDC have produced a
20 report on the jobs that are created by clean
21 vehicle technology and clean vehicle
22 manufacturing. And that's something that I'd be
23 -- it's called the "Supplying Ingenuity Report"
24 and that's something that I'd be happy to submit
25 into the record, as well.

1 COMMISSIONER SCOTT: Great. Thank you
2 very much. Yes, please, do submit that report.

3 This is a category that did used to cover
4 the CVRP. We don't typically anymore because
5 this program has about \$100 million that, as
6 you've seen, is spread across quite a few areas.
7 There are several hundred million dollars going
8 into the vehicle space and we recognize how
9 important those incentives are. We also
10 recognize how important it is to have the
11 infrastructure to support these vehicles.

12 And so, we try very hard not to take
13 money out of that infrastructure piece to put
14 into the CVRP. But your point is well taken in
15 terms of needing to have continuous investments,
16 and signals and support for both, for both the
17 infrastructure and the vehicles.

18 But that you are correct. That's where
19 it typically was and that's the change in us not
20 funding CVRP has come because of the hundreds of
21 millions of dollars that are in the Cap and Trade
22 Funds to help support that, just for some
23 background.

24 So, I have Thomas and then Tyson.

25 MR. LAWSON: Good afternoon, Thomas

1 Lawson, California Natural Gas Vehicle Coalition.

2 We spent a lot of time this morning
3 talking about, you know, working with other
4 regulatory agencies, and other monies, and pots,
5 and whatnot. And so, I was wondering how does
6 this fit in with the VW funds of the first three
7 pots of money funding EV infrastructure. As far
8 as from my understanding there's over \$600, \$700
9 million going to EV structure. EV infrastructure
10 with those pots of money, in addition to the \$20
11 million in this pot, is that taken into account
12 here as far as the numbers?

13 I mean, obviously, we're not where we
14 want to be on the hydrogen infrastructure to get
15 to the hundred, but I just wanted to have that
16 conversation.

17 MR. ORENBERG: Yeah, thanks Thomas. And
18 I actually wanted to clarify about the Volkswagen
19 funding. You know, Volkswagen, as part of the
20 diesel emission settlement and other settlements
21 is going to provide the State I think \$1.4
22 billion over ten years. That is not all going to
23 electric charging infrastructure.

24 The main part of their settlement that is
25 going to electric charging infrastructure is \$800

1 million over ten years. They provide 30-month,
2 that's two-and-a-half-year investment plans.

3 During the first investment plan that
4 they have released for the Volkswagen settlement,
5 it appears as though they are planning to provide
6 an average of \$48 million per year for electric
7 charging infrastructure and that is throughout
8 the State.

9 So, that comes out to \$128 million
10 estimated over two and a half years.

11 And we are definitely taking into account
12 these projects that Volkswagen, and the Investor-
13 Owned Utilities, and the other utilities are in
14 fact doing and we are avoiding duplication and
15 overlapping of projects. And so, it's all taken
16 into account with this allocation.

17 MS. TUTT: Can I add one thing to that?
18 Just to clarify, Thomas, the VW funding will meet
19 about four to eight, that's not 48, that's four
20 to eight of the charging needed for the 1 million
21 vehicles that we're trying for.

22 So, it actually seems like a lot of
23 money, but it's not nearly what we need. So,
24 this \$20 million's essential.

25 COMMISSIONER SCOTT: I have Tyson and

1 then Ralph.

2 MR. ECKERLE: I'll jump on that train.

3 You know, I think that this category is extremely
4 important and I think for a lot of reasons. But,
5 really, it's filling gaps. I think it's easy to
6 kind of go down -- or, tempting to go down the
7 path of seeing how much money is in there going
8 into EV charging, and think that that would cover
9 the State. When, in fact, there's -- you know,
10 the IOUs are within their own territory.

11 Electrify America is set up as a for-profit
12 company, looking to go to the most, you know,
13 beneficial for driving a business.

14 And so, I think the importance of this
15 program to fill those gaps and help blanket the
16 State is really critical. And I think it's also
17 important to have this expertise within the State
18 agencies in terms of developing projects and
19 pushing them forward, and so we can leverage
20 across the State and across the State agencies to
21 kind of -- to use our properties to help fill the
22 gaps. And so, I think it's really important and
23 commend the Energy Commission for the way it's
24 presented here and the forward-looking nature of
25 the investment.

1 COMMISSIONER SCOTT: Ralph and then Joel.

2 MR. KNIGHT: I think it's great to see
3 this. This is going to be a big boost as far as
4 the yellow bus is concerned. That's what I've
5 done for the last 12 months is going up and down
6 this State, teaching our directors and
7 administrators in the schools that electric bus
8 is here to stay.

9 You know, I had the first two in 1997 and
10 that was a challenge. That was very challenging.
11 My mechanics would rather have seen them as
12 anchors in the ocean somewhere, other than in the
13 shop all the time.

14 (Laughter)

15 MR. KNIGHT: But I think things have
16 changed, technology's changed. It's gotten much
17 better. I think that with this money, you know,
18 we need to see not only do we transport kids home
19 and to school, but we do on field trips, too.

20 So, you know, we've been talking with
21 PG&E and have them in our works to try to get us
22 charge stations around so that when we get to a
23 community somewhere, for a sporting event or
24 whatever that we'll be able to recharge that bus
25 if we need to, to bring it back home and things

1 of that sort.

2 So, we've got a little bit of a challenge
3 to be able to get out of town and do those jobs.
4 But to do the home to school, I think that we've
5 finally convinced a lot of our compadres out
6 there that this is the way to do it.

7 And I think that we're not losing jobs in
8 our shop out there, as far as the mechanics are
9 concerned. We've got some very good training
10 coming from Bluebird, Thomas. I see all of the
11 big manufacturers that are now playing in the
12 ball game, again.

13 I think that we're seeing excellent
14 training coming to the mechanics to be able to do
15 that. True, they're going to have to learn how
16 to run laptops and talk to that bus, now, where
17 they haven't in the past. They've brought out
18 wrenches and parts and that was how they got them
19 back on the road.

20 But today, it's a different story, now.
21 Now, they've got to talk to it. And I think that
22 the education that's going along with that is
23 going to be very helpful for those guys and make
24 them a different style of mechanic out there
25 today.

1 So, I think it's a big plus in our
2 operation and we're seeing a lot of funds coming
3 to us right now that's going to make the purchase
4 of those buses much easier for school districts
5 to get involved and to use them out there.

6 And, like I said, I've been playing with
7 them since 1997. I never thought we'd see this
8 kind of a day arrive in the yellow bus industry.

9 COMMISSIONER SCOTT: Great. Thank you.

10 I have Joel and then Bonnie.

11 MR. ESPINO: So, I definitely appreciate
12 the amount of funds going for this category. As
13 I mentioned in my previous comments, I think
14 transportation electrification is key to not only
15 our climate goals, but the social equity goals
16 that California as codified in various pieces of
17 legislation.

18 I have a question around this CALeVIP
19 program. I know that in the early discussions,
20 when the Commission was entertaining this block
21 grant, there was some discussion around the
22 possibility of obtaining stakeholder input around
23 the program design of what some of these
24 incentive programs might look like.

25 And I'm curious to hear if there's a more

1 thought out process on how that might begin?
2 Because I know that, you know, there's a large
3 stakeholder community out there, really focused
4 on the EV equity aspects, right. And, you know,
5 as has been mentioned, there is a lot of money
6 going to disadvantaged communities from the
7 utility programs. But even then, you know, those
8 are only reaching a lot of times workplaces, and
9 not necessarily multi-unit dwellings or homes of
10 low-income folks.

11 And we've done a good job here, in the
12 State of California, of really creating robust EV
13 incentives for low and moderate-income folks.

14 And so, a lot of the times we're hearing
15 anecdotes from some of these administrators of EV
16 equity programs that they're running into the
17 problem of, you know, not having access to
18 charging, and so folks not wanting -- not being
19 able to participate in these EV equity programs.

20 And so, the value of this fund from the
21 Energy Commission has always been that it's
22 flexible. And so, I'm wondering if there's an
23 opportunity to either include an equity focus
24 component to this, or maybe even create a
25 separate equity charging solutions program that

1 could be continuously funded through the years.
2 So that it kind of is married with the EV
3 incentive structure that ARB has created, so that
4 we kind of have both funding streams covered and
5 we're able to really maximize those EV equity
6 dollars that ARB has. I would definitely
7 encourage that.

8 And then, I definitely wanted to uplift
9 the Innovative Mobility Services Program. I'm
10 really excited to see it.

11 I know that the Greenlining Institute has
12 been looking more around this question of
13 mobility. And one of the phrases that I've been
14 using recently is that I think we get very siloed
15 in our sort of policy arenas, right. And so,
16 transportation electrification folks only look at
17 the technology, and we've got to get this out
18 there.

19 But, you know, these issues are not
20 happening in a vacuum. They're multi-faceted
21 issues that need multi-faceted solutions.

22 And so, this idea of right sizing your EV
23 I think is important. So, what I mean by that is
24 not doubling down on this paradigm of single-
25 occupancy vehicles, right, and seeing that as the

1 future, when we really need to think more about
2 environmental sustainability. Especially as
3 urban cores start to get more and more dense,
4 we're seeing trends from populations moving more
5 and more to urban cores.

6 And so, we need, actually, more efficient
7 forms of mass mobility. And obviously, those
8 have to be electric, right.

9 So, not just encouraging the solo driving
10 but encouraging electric buses, electric van
11 pools, carpooling that Eileen mentioned. So,
12 really trying to set up this Innovative Mobility
13 Services Program in a way that it encourages
14 those kinds of different mobility services and
15 not just doubling down on this single occupancy
16 EV, for example, I think would -- I think is key
17 moving forward.

18 COMMISSIONER SCOTT: Brian, do you want
19 to talk a little bit about the outreach on
20 CALeVIP and some of our most recent
21 solicitations?

22 MR. FAUBLE: Sure. So, with CALeVIP we
23 do work with our modeling -- we start with our
24 modeling, basically, to analyze the county needs
25 for future needs, and then we also look at what's

1 in place already. So, we do a gap analysis as
2 part of our ranking.

3 We also then look at currently available
4 funding through other programs, and projects,
5 incentives.

6 And when we come up with our ideas for
7 projects, we then hold a workshop in that region.
8 So, for the Fresno one, we had our Fresno
9 workshop I want to say late September. So, we
10 do, we present all our requirements, and what
11 we're basically looking to do, take in comments,
12 and we're definitely open to changing different
13 requirements that we present.

14 With future projects in development,
15 we'll see a lot more capability once this is more
16 up and running, and we kind of get some of the
17 minor bugs out. We'll have more capability to
18 have different caps available for maybe MUD and
19 workplace. So, not one specific site type takes
20 all the funding. We do want to make sure we're
21 trying to cover all the site types, and we'll
22 have different funding caps, and maybe rebate
23 amounts, and the whole structure available. So,
24 we're covering every site type, basically.

25 With the Innovative Mobility, it is our

1 first demonstration for this. We're definitely
2 looking forward to it.

3 And in our CALeVIP we also look at
4 exactly what each region needs. And so, if we
5 see a need for ridesharing or E mobility, those
6 re also options that we can do with the -- or,
7 with CALeVIP, sorry.

8 COMMISSIONER SCOTT: And I do think that
9 we're setting it up very much so that we can hear
10 from the communities and get great ideas from the
11 communities.

12 And, two, the program and working closely
13 with our friends in the Air Quality Management
14 Districts, and others as well to see if we are
15 able to leverage each other's' dollars and
16 complement each other's programs.

17 Let's see, Bonnie. And then, John, did
18 you still have a comment or --

19 Okay, Bonnie and then John.

20 MS. HOLMES-GEN: Yes, thanks. I wanted
21 to also jump in and say that we are very excited
22 about the \$20 million for electric vehicle
23 charging and for the Innovative Mobility
24 Services. And happy to see the Innovative
25 Mobility Service category focused in

1 disadvantaged communities. So, I think it's a
2 great, very important category of funding, and
3 it's important to our overall goals to get to the
4 1.5 million, at least, by 2025 and over 4
5 million, hopefully more than that by 20150.

6 I mean, I would be really -- I keep
7 hearing different estimates of when we're going
8 to get to the point where -- of cost parity
9 between electric vehicles and conventional. I
10 mean, I've heard really near-term estimates. I'm
11 wondering, I'm curious, as an aside if the Energy
12 Commission staff has any research to cite on
13 that?

14 But it seems like where we're fast
15 getting to the point where it is going to be as
16 cheaper or cheaper to make electric cars. Which
17 doesn't mean we need to let up at all on our
18 preparation and infrastructure and this is all
19 really important.

20 And I think I've mentioned that the Lung
21 Association has done a study of the benefits of
22 electric vehicles and we found 15 billion in
23 benefits just in California, health and climate
24 benefits, including quantified benefits of
25 reduced illness, and hospitalization, and

1 premature deaths from expanding, dramatically
2 expanding our penetration of electric vehicles in
3 California, to at least 60 percent EVs.

4 And I appreciate that you cited our
5 "State of the Air Report" in your document. You
6 might also want to cite our "Clean Air Future
7 Report". So, I can make sure that you have that
8 citation.

9 So, having said all that, and thank you,
10 and I really appreciate the excellent
11 presentation of all this.

12 Is there anything more to be said, number
13 one, about how we're strategically placing these
14 EV chargers? I know, we've had some discussion,
15 but is there anything more? We kind of covered
16 that.

17 You know, with all these different
18 agencies rolling out the chargers, you know, I
19 hear things that local governments want to get
20 involved with this, but they don't even know
21 where to put them. I mean, if they were going to
22 put one in, they wouldn't know where to put it.
23 And, you know, they put one at the community
24 center and they put one at the city hall and
25 like, well, where else do they go?

1 And so, I just -- number one, I'm just
2 wondering if there's anything more to say about
3 how the State is watching over between these
4 different programs, making sure these are
5 strategically placed. And that we are getting
6 beyond L.A. and the Bay Area.

7 You know, I think it will be helpful if
8 the report specifically mentions, in this
9 section, San Joaquin Valley and the need to be
10 focusing on deepening the network in the valley.

11 I know there's funding going to that. I
12 know that the Electrify America has specifically
13 mentioned the valley as one of the communities
14 where they're going to be focusing some funding
15 for their Community Charging Networks under the
16 \$200 million.

17 So, that's another reason, I think, to
18 mention Fresno specifically in this report.

19 So, I guess those are my two questions I
20 guess right now. How are we being strategic in
21 placement and working with local governments? I
22 see that you have some comments here about that,
23 but it's still pretty high level.

24 And what more can be done in terms of the
25 San Joaquin Valley and underserved areas?

1 COMMISSIONER SCOTT: I think, so to the
2 coordination point I think Thomas raised this, as
3 well. There is lots of coordination going on,
4 both kind of informally and formally.

5 The Governor's Office has a convening
6 every month -- more than one convening, actually
7 two every month that has high level folks, like
8 Carla Peterman, and myself, and Richard Corey,
9 and others to talk about what we're doing on the
10 zero-emission vehicle infrastructure.

11 A lot of this is following up, of course,
12 on the 2016 ZEV Action Plan and action items, if
13 there are any left over. I think we've got most
14 of them done from the 2012 Action Plan.

15 But we do talk to each other. We
16 coordinate very well. We are working very hard
17 to ensure that we're not tripping over each other
18 in these spaces, and that we are being additive,
19 and complementary, and accelerating the
20 infrastructure into the places where we need it
21 to be.

22 One of the nice things about the Energy
23 Commission Program, Joel pointed this out, is
24 that we have some flexibility in where we put the
25 funding. And so, for us, that's been really

1 exciting. That's why we started the CALeVIP with
2 Fresno, and getting infrastructure deployed in
3 Fresno.

4 We also, you know, when we weren't sure a
5 couple of years ago where the Investor-Owned
6 Utilities were going to make the investments, we
7 decided to focus primarily on destinations and on
8 corridors because we knew that you have to have
9 infrastructure there. And those are places that
10 it was not likely that the IOUs were going to be
11 rolling out their first set of infrastructures.

12 So, we do have the ability and
13 flexibility to work together, to work well, work
14 in a complementary fashion and we are doing that.
15 And some of it's just informal, us catching up
16 with each other during the day. And also, some
17 more formal with our meetings with the Governor's
18 Office.

19 I think for the strategic deployment, we
20 have spent some money on Regional Readiness Plans
21 over the last few years. And that was really
22 what the point of those were, to bring together
23 MPOs, and local transportation agencies, and
24 others to think through where do we think that
25 the -- where do we think that the cars are going

1 to be deployed such that we can determine areas
2 that it makes sense to do infrastructure?

3 We have some really exciting projects in
4 places. Like Burbank Water & Power, for example,
5 did a Regional Readiness Plan and then they were
6 able to get some of their infrastructure out.
7 And it's pretty exciting. They said it's a
8 little bit of an art and a little bit of a
9 science. You know, so they have some like
10 outside of Porto's. So, I don't know if anyone's
11 familiar with the Burbank area, but it's a very
12 famous area in Burbank. So, they put some of the
13 chargers, curbside charging outside of Porto's.

14 They put some across from a multi-family
15 building where a lot of folks have electric
16 vehicles.

17 So, it's still curbside charging. It's
18 you can't park your car there and leave it
19 overnight, but it is across the street from your
20 apartment building.

21 They were very creative in how they put
22 that together, but it was based on some of those
23 Regional Readiness Plans.

24 The other thing that we are poised to do,
25 that I think I can talk about because I've

1 mentioned in other forum, is we want to do -- I
2 don't know if you ever follow any of our EPIC
3 grants, which is the Electric Public Interest
4 Charge. It comes through a fee on electricity
5 and it's research and development in EPIC.

6 And they did what they called the EPIC
7 Challenge, and it was to develop an advanced
8 energy community. And they put out money.
9 People were able to compete for dollars to plan
10 what does my advanced energy community look like?
11 And who are the partners that we're going to work
12 with? Who's going to make this happen? Where
13 are we going to put the small windmill, or where
14 are we going to put the different components of
15 solar? Where are we going to put the charging
16 and really make this -- and it's on our way to
17 get to the zero-net energy in buildings.

18 But how do you get to a zero-net energy
19 community?

20 And I was like, why can't we do that with
21 charging? So, the team has been working very
22 diligently to put something similar together on
23 charging. Where the first round would be sort of
24 a more detailed level of planning on the
25 charging. Who am I going to partner with? Which

1 mom and pop restaurant? What school district?
2 What, you know, library? Which city hall
3 building? Who wants to be the partners to get
4 infrastructure, where to put that infrastructure
5 in our community? What is that going to look
6 like?

7 So, we'll put money out there for the
8 planning. Then, the people who -- so, that's the
9 first competition, get money for the planning.

10 Then everyone who wins money for planning
11 can come back when their plans are done and
12 compete for implementation dollars so that they
13 can actually get the chargers and put them in
14 those places that they developed in their plan.

15 So, stay tuned, that's coming. So, we
16 are trying to think very much about strategically
17 where should the infrastructure go. And not only
18 just how do you plan for it, but once it's
19 planned for how do you get that infrastructure
20 out there?

21 One of the things that's exciting about
22 the EPIC challenge is that they were able to fund
23 13 plans. They probably will only be able to
24 fund two or three to be implemented. But the
25 plans I think are going to be fantastic. Which

1 means other folks, maybe the Air District wants
2 to put some money in to help implement it.
3 Maybe, well, we'll see, DOE or EPA could put some
4 money in to help implement it. Maybe there's a
5 private business that says, hey, this is really
6 exciting, I want to get in on this. And they can
7 help put money in to implement it.

8 So even, if we may not be able to fund
9 all of the implementation plans, hopefully,
10 they're well-written and exciting enough that
11 other people want to jump in and help to fund
12 them.

13 So, that's what we're going to try to do
14 in the infrastructure space to kind of move from
15 planning to planning and into implementation.
16 So, that's -- that was my pitch on that one.

17 MS. HOLMES-GEN: No, that's all really
18 helpful. I appreciate that. And I'm really
19 excited to know that these Readiness Plans, and
20 we spent years talking about putting some money
21 in these Readiness Plans, and I'm really happy to
22 know that there were some really solid outcomes
23 from those plans. You know, to really help build
24 the charging structure in a way that makes sense.

25 Who's funding the EPIC Challenge? I know

1 there's parts of it you still have to get
2 funding, but initially?

3 COMMISSIONER SCOTT: So, that's out of
4 our EPIC Program.

5 MS. HOLMES-GEN: Okay.

6 COMMISSIONER SCOTT: It's the Electric
7 Public Interest Charge Program. So, if you go up
8 onto our webpage, there's all the tabs across the
9 top. And if you click on the funding tab you can
10 see the ARFVTP funding, but you can also see EPIC
11 funding, Prop. 39, all the other programs that we
12 have.

13 MS. HOLMES-GEN: I just might add,
14 quickly, that since Sacramento now is a Green
15 City under the Electrify America Funding, \$44
16 million coming here, that there should be some
17 great, new advances in community charging to look
18 at and draw into our discussion here.

19 COMMISSIONER SCOTT: Uh-hum, absolutely.

20 John and then Jan.

21 MR. SHEARS: So, thanks. So, I just
22 wanted to clarify, so is this \$20 million limited
23 to passenger vehicles or is this just broadly to
24 all EVs?

25 COMMISSIONER SCOTT: This is focused on

1 passenger vehicles.

2 MR. SHEARS: Right, okay.

3 COMMISSIONER SCOTT: We are looking to
4 get into medium-duty and heavy-duty space. And
5 we'll talk about that some more when we talk
6 about the medium-duty and heavy-duty category, as
7 well.

8 MR. SHEARS: Yeah, it's just didn't have
9 time to go over the plan as thoroughly as I would
10 have liked to before today.

11 So, just wanted to clarify, too, on the
12 VW ZEV Investment Plan, it's a ZEV Investment
13 Plan. This is phase one.

14 And as one of the people who put the full
15 court press, and there's some other colleagues
16 here in the room and worked with me to put full
17 court press on them, you know, that was worth it.
18 Largely got them to have a consciousness change
19 about the Valley and Fresno County.

20 But also, they've assured us that going
21 forward, you know, and CARB has talked with them
22 about this, extensively, as well, that hydrogen
23 is not out of the picture. So, I just want to
24 clarify for everyone that this is a ZEV program.
25 This money is ZEV money.

1 And, you know, decisions will be made.
2 You know, it's VW's money to spend and so it
3 still has to basically meet a business case for
4 them to invest it. So, they'll be the final sort
5 of decider on that within certain bounds.

6 And then, with regards to the Readiness
7 Plans, as one of the instigators that encouraged
8 the Energy Commission to set up that funding
9 program, and I've actually been having e-mail
10 exchanges with a couple of colleagues here around
11 -- I haven't been clear now, for a little while,
12 about what the status is in terms of the
13 implementation of the Readiness Plans. And I'm
14 working extensively on the ground, in the Valley
15 for example, and it's not clear to me like
16 exactly how everything is being viewed sort of
17 through that lens. Although, all of it could,
18 you know, nominally be said to be part of the
19 meeting of the Readiness Plans.

20 And then, with the rapidly evolving and
21 changing shape of what's going on with electric
22 transportation in the State, I think we need to
23 make sure that we might need -- I think we might
24 need to revisit funding to update and re-jig the
25 plans, especially once the SB 350 transportation

1 plans are finally signed off by the Public
2 Utilities Commission, so that we can sort of have
3 a more sort of formal reassessment and
4 realignment of the Readiness Plans in terms of,
5 you know, all of those new resources that can be
6 brought to bear. You know, not just the
7 passenger vehicle side, now, but basically all
8 other aspects of electric transportation. So, I
9 just wanted to highlight that for now and I will
10 save my other thoughts for later. So, thanks.

11 COMMISSIONER SCOTT: Okay, thank you.

12 Jan and then Tyson.

13 MS. SHARPLESS: Yes, this has been a very
14 fascinating conversation. And what I would like
15 to bring to the table is perhaps you've been
16 working with them, but I haven't heard them being
17 brought up in the conversation, and that is the
18 Council of Governments.

19 This is very important, powerful agencies
20 in the State of California that receive Federal
21 money and make decisions on allocations and
22 expenditures.

23 So, to Joel's point about multimedia and
24 not just providing funds for the single passenger
25 vehicle, the COGs are the ones that really put

1 together the blueprint on how multi-modal plans
2 are going to be implemented in each region. And
3 they are made up of city council people,
4 supervisors, public transit authorities,
5 paratransit authorities, and so these are the
6 decision makers of where the money's going to be
7 spent on multi-modal transportation systems in
8 the region.

9 So, if they're not a part of your
10 outreach, I think it would be important to bring
11 them into your conversations because I think they
12 could lend a powerful, powerful force to whatever
13 you're trying to accomplish.

14 COMMISSIONER SCOTT: Thank you.

15 Tyson and then Joe.

16 MR. ECKERLE: Just to build on that, I
17 wanted to -- Bonnie brought up a good point. So,
18 I think that from the State perspective we can
19 only reach who we can reach or who we have
20 reached. So, if you hear of people who don't
21 know where to start, please let us know. Because
22 I think we want to make sure that we just -- I
23 mean, we're all part of the State government in
24 this way. If people haven't heard of the
25 programs -- sure, please.

1 And the Energy Commission, I mean, yeah,
2 exactly.

3 COMMISSIONER SCOTT: I will echo that.
4 Please feel free to call any of us to get
5 started. And if we're not the right person, we
6 will happily put you in touch with the right
7 person.

8 Joe and then Brian.

9 MR. GERSHEN: Yeah, I meant to ask this
10 morning, and John mentioned something about PV
11 money being EV money. So, I know this morning in
12 the natural gas it was under-subscribed and I
13 know in the past there have been biofuels
14 projects that were either under-subscribed or
15 went back into the pot.

16 And I'm just curious, is there any
17 recordkeeping about what happens to that money
18 and is there a way to track that and know what
19 ended up happening to the money that went back
20 in? Because I know, obviously, everyone's
21 looking for money. Not the least of which is the
22 biofuels folks.

23 But for projects that don't either take
24 all the funding, or use their funding, or they go
25 bankrupt or whatever happens, I'm just curious

1 whatever happens to that? Is there a way to
2 track that and report that back to all of us?

3 COMMISSIONER SCOTT: We do track it. Let
4 me talk to my folks and figure out --

5 MR. GERSHEN: Okay. That would be great.
6 That would be good to know.

7 MR. ORENBERG: Oh, just to clarify, we do
8 track all the money, of course. We track exactly
9 which projects, you know, finished on budget,
10 under budget, which are cancelled with money
11 spent. Everything like that we track.

12 Regarding the actual money, the program
13 funds, you know, we have fiscal year allocations.
14 Once we receive that money we have two years to
15 what we refer to as encumber it, which means
16 dedicate it to a specific grant or contract. And
17 that doesn't change.

18 So, if we encumber -- you know, the 2018-
19 2019 money needs to be encumbered by, I believe,
20 June 30th, 2020. I think so. Let's say June
21 30th, 2020.

22 Past that date we cannot reencumber it.
23 So, if we dedicated that money to a project and
24 the project for some reason cancels, or fails, or
25 completes under budget, the money we cannot add

1 back to these allocations in the Investment Plan.
2 It goes back into the ARFVTP fund, into the, I
3 guess, the prudent reserve, or just the money
4 that's left over in the fund. I guess, come
5 January 1st, 2024, we'll have to figure out what
6 happens with that money.

7 MR. GERSHEN: Yeah, it would just be
8 interesting to find out what happened to projects
9 that didn't happen, that didn't use the funds,
10 where did those funds end up going?

11 COMMISSIONER SCOTT: Brian?

12 MR. GOLDSTEIN: Yeah, I just wanted to
13 say that we saw, through EIN, firsthand how
14 impactful the Readiness Plans can actually be.
15 There just seems to be a lot of bang for the
16 buck. They're, you know, relatively small
17 amounts but the groups that get together to
18 compile the plans usually consist of local
19 stakeholders, governments. There are so many
20 different agencies and folks that come together
21 to contribute to the plan that they seem to
22 really raise awareness among those agencies.
23 Certainly, in locations that aren't
24 necessarily the ones that already are getting
25 funding for infrastructure.

1 So, whether or not they receive State
2 funding after compiling the Readiness Plan, it
3 seems to really raise the level of awareness of
4 what it will take to build out infrastructure.

5 And, you know, I just really think that
6 the Energy Commission is getting a lot of bang
7 for the buck in those plans and really hope to
8 see them continue to move forward.

9 That said, I have one question about the
10 Readiness Plans. And it seems like that funding
11 is coming out of the Emerging Opportunities
12 budget, is that correct, or is it coming from the
13 individual fuel type?

14 MR. ORENBERG: So, the Regional Readiness
15 Plans are actually funded through the Regional
16 Readiness Plan category. There is no funding
17 proposed for fiscal year 2018-2019. And there
18 was no funding proposed in the last cycle,
19 either.

20 So, there is, I believe, \$1.8 million
21 left over from fiscal year 2016-2017 that we
22 still need to use.

23 MR. GOLDSTEIN: And does that need to be
24 released in a new competitive grant or can people
25 still apply under the old ones?

1 MR. ORENBERG: I believe that needs to
2 be released through a new competitive grant.

3 MR. GOLDSTEIN: Okay. And then, I had a
4 similar question for the Innovative Mobility
5 Services. You know, what tranche is that coming
6 out of and is there another opportunity to extend
7 that program? So, I think that's a wonderful
8 program, as well.

9 MR. ORENBERG: For that specific
10 solicitation, and I invite the EV Unit to correct
11 me here, if I'm wrong, I believe that was funded
12 both from the Electric Vehicle Infrastructure
13 category and the Emerging Opportunities category.

14 MR. GOLDSTEIN: Okay. And is it too
15 early to say that, you know, there would be an
16 opportunity to extend that into the next year or
17 is that something that's undecided at this point?

18 MR. ORENBERG: I think that's undecided
19 at this point.

20 MR. GOLDSTEIN: Okay. All right.

21 COMMISSIONER SCOTT: Okay, I don't see
22 any more comments from Advisory Committee -- I'm
23 sorry? Oh, Ellen, I'm sorry. Please go ahead,
24 Ellen.

25 MS. GREENBERG: Thank you. This is

1 really just a point of information for folks, in
2 light of the comments about local government
3 activities. I just wanted to bring people's
4 attention to the fact that the language in SB 1,
5 right, the transportation funding package that
6 was passed in the spring, in the Road Maintenance
7 and Rehabilitation Program established by SB 1
8 there's specific language about the cities and
9 counties that are receiving funds under that
10 program. Using those funds among other uses for
11 charging and fueling opportunities for zero-
12 emission vehicles.

13 So, those who were thinking about ways to
14 best work with local agencies on this might want
15 to be aware of those provisions.

16 COMMISSIONER SCOTT: Great, thank you.

17 I have no blue cards from commenters in
18 the room. I do have a couple on EV, for medium-
19 duty/heavy-duty, which I thought we'd do in the
20 medium-duty/heavy-duty space, unless you also
21 were wanting to comment on light-duty.

22 Yeah, go ahead.

23 MR. ORENBERG: Oh, just to clarify for
24 everyone in the room, if you'd like to make a
25 public comment please fill out a blue card, and

1 provide it to Patrick Brecht, over by the laptop.

2 And if you are on WebEx and would like to
3 make a public comment, please use the raised hand
4 feature and our WebEx staff will make note of
5 that.

6 And, of course, since there are so many
7 people present and we do have limited time, we do
8 ask the public comment to be kept to three
9 minutes or less. Thank you.

10 COMMISSIONER SCOTT: Sorry, go ahead,
11 John.

12 MR. SHEARS: Yeah, sorry, just a
13 clarifying question just in case I don't -- if
14 Ellen has the answer to this question or not, or
15 anybody else in the room. We were just
16 wondering, over here in our corner, you know, if
17 you knew what mechanism and where parties would
18 have to go to access that funding because --

19 MS. GREENBERG: So, all of the cities and
20 counties in the State will be getting, I believe
21 directly from the Controller, funds that are
22 generated through the sales -- sorry, through the
23 gas tax and the other new revenue sources through
24 SB 1, or augmented revenue sources. They'll be
25 getting funds for their local road maintenance

1 programs.

2 And so, the department has no -- the
3 Department of Transportation doesn't have any
4 role in that. There is, I would say generously,
5 ambiguity around whether the expectation is that
6 those funds would be used directly for this
7 purpose. But, you know, I think there's a real
8 basis for some local agencies that want to be at
9 the leading edge of this to try it out and see
10 what happens.

11 Tyson and I have spoken about this and
12 ways that this might support the active use of
13 those funds. So, I think it's going to take some
14 pioneering, but the overall plan is for road
15 maintenance and rehabilitation program are for
16 all of the cities and counties in the State.

17 COMMISSIONER SCOTT: Okay. Let's turn to
18 a public comment. I do have blue cards in the
19 room. We'll start with Ryan Schuchard. And
20 he'll be followed to Dedrick Roper.

21 We'll have three minutes for each public
22 comment in the room and then we'll turn to the
23 folks on the WebEx.

24 And again, as Jacob mentioned, if you are
25 a member of the public and you'd like to make a

1 comment, please fill out the blue card, give them
2 over to Patrick, who's waving at you. That's how
3 we know you'd like to say something. And we'll
4 go from there.

5 Please go ahead, Ryan.

6 MR. SCHUCHARD: Good afternoon,
7 Commissioner Scott, Mr. Kato, and Committee
8 Members.

9 Let me first just say that great -- Ryan
10 Schuchard, with CALSTART: CALSTART greatly
11 appreciates the tireless work of Commission staff
12 here, year after year to consider a very large
13 number of very difficult tradeoffs in a landscape
14 that's changing very quickly.

15 And on that point, we're really making a
16 lot of progress in California on EVs and the
17 Commission and its staff have a lot to thank for
18 that, so we recognize that.

19 We do support enhanced levels of funding
20 in this category. And I have two general
21 comments. The first on what is now called
22 CALeVIP, the block grant. Just two thoughts on
23 some direction.

24 First, as we talk with our industry
25 stakeholders and think about this, we're a little

1 anxious that there could be a risk that if there
2 is increased investment from outside the CPUC in
3 Investor-Owned Utility districts, you could run
4 into a situation where there would be ratepayer
5 advocates saying, well, now we don't need to do
6 this work through utilities. Which, in fact, has
7 a much bigger burden they should be bearing. So,
8 we want to be aware of that and, in that regard
9 support the idea of Municipal Utility District
10 investments. So, a long way of saying any focus
11 we think is a good idea for this type of funding.

12 Also, a key barrier not being addressed
13 yet, I think anywhere very well, is corridor
14 rapid charging and getting business models that
15 make cost effective. So, we'd support investment
16 for CALeVIP, the block grant, in corridor rapid
17 charging. So, energies in corridor rapid
18 charging.

19 And then, I'll make this part brief
20 because I heard you say medium- and heavy-duty is
21 elsewhere. I didn't see a different category for
22 that, so I had a comment on here.

23 But I'll briefly just for now say we do
24 like the CALeVIP framework for light-duty. And
25 by extension, we think that the Energy Commission

1 should develop a similar program for medium- and
2 heavy-duty as a distinct and separate program.
3 And I guess I'll wait for the medium- and heavy-
4 duty category to say more on that.

5 And let me also just say, for Eileen, I
6 think she makes a really good point that
7 employment in this sector is not just a large
8 number relative to clean transportation, but EV
9 jobs is really one of the big bright spots for
10 California economy jobs overall. So, this is
11 definitely a place we need to continue to invest.
12 Thanks.

13 COMMISSIONER SCOTT: Great, thank you.

14 Is Dedrick still here?

15 MR. ROPER: Good afternoon. This is
16 Dedrick Roper with ChargePoint. Thank you for
17 the opportunity to speak today.

18 I've been involved with sort of helping
19 the development of the Investment Plans for the
20 last three years. You know, from ChargePoint's
21 perspective. And I really appreciate the sort of
22 renewed focus to expedite the deployment of the
23 infrastructure.

24 It's clear that the Energy Commission is
25 looking for new ways to get the funds out

1 quicker. Programs like rebate programs with the
2 Fresno Initiative, coordinating with Investor-
3 Owned Utilities, Municipalities, and Air
4 Districts. I really want to express support for
5 coordinating with the Air Districts that tend to
6 tap into more innovative funding sources, such as
7 local DMV funds.

8 These funds oftentimes aren't enough to
9 have a really substantial project. But if you
10 bring additional investment from the ARFVTP
11 program, as well as local investment, those
12 programs could actually have a much larger
13 impact.

14 Also want to express support for
15 continued investment in low-income communities,
16 as well as multi-families. Even when there are
17 large subsidies for these types of deployments,
18 it's still an uphill battle encouraging a lot of
19 the property developers and owners that EVs are
20 important for their property. So, you know, the
21 additional incentive of subsidized infrastructure
22 is a huge help, but those markets are still
23 pretty tough to tackle.

24 And also on the Readiness Planning side,
25 I know that there were substantial plans

1 developed in previous years. In working with the
2 PEVCCs through some of our corridor work, you
3 know, we know that those plans have been great in
4 helping develop those regions.

5 But there's also a need on the local
6 level. So, on more of the city level, some of
7 these cities that want to implement streamlined
8 permitting processes, over-the-counter sort of
9 online processes, as well as streamlining
10 permitting is very critical into helping the
11 infrastructure get out.

12 So, I just want to encourage the use of
13 those funds that are remaining from 2016, and I'd
14 like to see a new program coming out this year.
15 Thank you.

16 COMMISSIONER SCOTT: Great, thank you.

17 Those are all the blue cards I have from
18 folks in the room.

19 On the phone we have Linda Urata, from
20 Kern Council of Government.

21 MS. URATA: Hi. Thank you so much for
22 this conversation. I'm not sure if this is
23 applicable now that the discussion has proceeded.
24 But I did just want to bring up that there's
25 things changing on the Federal budget scale and I

1 don't know if that's going to lead to looking at
2 things a little bit differently as far as making
3 these investments in all fuels.

4 So, for instance, the recent Federal
5 budgets are eliminating the \$7,500 Federal Tax
6 Credit for vehicles. It's also eliminating most
7 of the budget for the Clean Cities Program. And
8 these are people that have been traditionally
9 putting together projects and building capacities
10 for the programs that you're funding.

11 So, I just wanted to bring that into the
12 discussion as far as Federal investment versus
13 State investment and if we're looking at perhaps
14 having to raise incentives through the Clean
15 Vehicle Rebate Program. If the Federal Tax
16 Credit goes away and perhaps that would be better
17 at developing the market than continuing to
18 invest in infrastructure in some areas.

19 And then, the other comment I would have,
20 being from Bakersfield, would be that we are --
21 we have been working, I work with the San Joaquin
22 Valley Electric Vehicle Partnership, and we're
23 thrilled to see all of the investment that's
24 going to Fresno. But I would remind you that
25 there's Bakersfield, Stockton, Modesto and other

1 places that are your gateways either to National
2 parks, like Sequoia National Park, or serving
3 rural communities, or on the highway that's the
4 main route through to Las Vegas and down to Los
5 Angeles for freight and other investments.

6 So, I would like to remind people that an
7 investment in Fresno, while being a wonderful and
8 new investment in the Central Valley does not end
9 there, but that we continue to fund projects
10 throughout the San Joaquin Valley.

11 COMMISSIONER SCOTT: Great. Thank you.

12 I have also a comment from Ed Pike.

13 MR. PIKE: Yes, this is Ed Pike with
14 Energy Solutions. And thank you for the
15 opportunity to provide comments today.

16 We work at State and Local level on all
17 different kinds of building codes and standards.
18 And I just want to echo some of the comments made
19 earlier about the benefits of funding for local
20 cities, as well as regional funding on ZEV
21 Readiness Plan implementation. Such as adopting
22 local codes and standards, permit inspection
23 streamlining.

24 And I would echo the comments about the
25 benefit of using the existing funding that's

1 already being held for that purpose.

2 And also, reconsidering providing funding
3 for the future. Because I think that there's a
4 lot of activities where there's still a lot of
5 opportunities that haven't been tapped, yet, on
6 plug-in electric vehicle infrastructure. And
7 then, certainly with fuel-cell vehicles coming
8 out, I think there will be a lot of opportunities
9 on the fuel-cell side as well. Thank you.

10 COMMISSIONER SCOTT: Thank you.

11 I have two comments that have no
12 microphone, so I will read them for you.

13 One is from Jody London, from Contra
14 Costa County. She says, "Our County is working
15 to develop an EV shared mobility readiness plan,
16 looking more broadly than passenger cars. We
17 think we will better positioned to pursue the
18 utility, VW and other funds. Will there be
19 funding opportunities to help us do this work?"

20 And I think we have talked through some
21 of the funding opportunities that we'll have in
22 this EV space. The answer is, yes, please follow
23 our list serve, if you're not already on there,
24 to make sure that you're hearing about those
25 opportunities.

1 And then I have another comment from
2 Steve Davis, from Oxygen Initiatives. Steve
3 says, "Needed reporting to State agencies will be
4 a challenge for utilities, particularly POU's,
5 which have limited resources. Oxygen Initiative
6 recommends funding some IT support for these
7 utilities to enable them to streamline onboarding
8 of vendors to accelerate infrastructure
9 deployment."

10 And I think those are all the comments
11 that I have on EV. Okay, great. So, we're going
12 to move over to the Workforce Training.

13 I just want to be mindful of time. It's
14 2:10, I know we're slated to go up until 5:00. I
15 hope everyone can stay until then. But I just
16 want to make sure that we have a chance to get
17 through. We still have about six categories to
18 do.

19 So, just with that in mind, I don't want
20 to quash the conversation because we're having
21 great dialogue. I just wanted to make sure that
22 we're mindful of time as we continue along.

23 So, Tami, please.

24 MS. HAAS: Good afternoon. I'm Tami
25 Haas, the Energy Commission Specialist in the

1 Fuels and Transportation Division.

2 The Workforce section of the Investment
3 Plan addresses the State's environmental and
4 economic goals by preparing new and incumbent
5 workers for the manufacturing, maintenance and
6 other servicing of clean transportation
7 technologies, leading to increased job
8 opportunities and higher wages.

9 Ensuring California's competitiveness by
10 building a well-trained labor force for new and
11 expanding manufacturers and suppliers to draw
12 from, assuring prospective buyers of advanced
13 technology vehicles that there are local, well-
14 trained technicians to service these vehicles.

15 The ARFVTP has invested in workforce
16 development and training since 2009. ARFVTP has
17 predominantly funded workforce training delivery
18 through these State agency partnerships. The
19 most direct ARFVTP investment to private
20 employers is through the Employment Training
21 Panel, or ETP.

22 ETP contracts directly with private
23 companies for workforce training of incumbent
24 workers. This means training for jobs that
25 aren't hypothetical, we know they exist.

1 Additionally, ARFVTP investments leverage
2 existing entities, such as community colleges,
3 which has been our primary pathway for reaching
4 future workers in this area.

5 Staff recently toured several community
6 college programs offering courses in automotive
7 technologies, and were funded by ARFVTP through
8 the Advanced Transportation Technology and Energy
9 Center, now known as Clean Energy and
10 Transportation Initiative.

11 This is the California Community
12 Colleges' Economic and Workforce Development
13 Program.

14 Cerritos College, which hosts the CETI
15 staff, is highlighted for several reasons.
16 They've established curricula in alternative
17 fuels. They have grown OEM and municipal fleet
18 partnerships in which trainees in disadvantaged
19 communities go for jobs. And they work with area
20 high schools that feed into the colleges.

21 Rio Hondo College also has a curriculum
22 focused on alternative fuels and advanced
23 technology vehicles. Rio Hondo College recently
24 won an \$800,000 National Science Foundation Grant
25 to develop safety certification for technicians

1 who work on electric and fuel-cell electric
2 vehicles.

3 There are several key drivers of
4 workforce training and development needed today
5 and in the future. It's important to understand
6 how companies position their products in response
7 to these drivers and to better understand their
8 workforce needs.

9 Under Senate Bill 350, the Energy
10 Commission has been instrumental in producing
11 reports on low-income barriers to clean energy,
12 including transportation electrification.

13 The Energy Commission will continue to
14 assess the workforce development aspects in
15 disadvantaged communities.

16 The 2016 ZEV Action Plan provides an
17 updated roadmap toward 1.5 million zero-emission
18 vehicles by 2025. The plan also identifies where
19 workforce is important and the role of the Energy
20 Commission in meeting these goals.

21 Senate Bill 110, established in statute
22 this year, provides up to \$75 million to schools,
23 for school bus retrofits and replacements. As
24 alternatively-fueled school buses become
25 available, we anticipate a need for schools to

1 have a trained workforce.

2 New areas for workforce training and
3 development investment and partnerships are in
4 the freight sector. In the California
5 Sustainable Freight Action Plan, under State
6 Agency Action Number 8, the Energy Commission is
7 partnering with the Governor's Office of Business
8 and Economic Development, as well as the
9 California State University, Long Beach.

10 CSU Long Beach will establish a working
11 group to assess and prioritize freight workforce
12 challenges associated in advanced technologies.

13 Another new partnership is with the Port
14 of Long Beach and Long Beach City College. These
15 entities will evaluate existing workforce
16 development and training programs that support
17 2030 zero-emission vehicle goals for the Port of
18 Long Beach.

19 For the fiscal year 2018-2019, the Investment
20 Plan proposes to allocated \$3.5 million.

21 COMMISSIONER SCOTT: Thank you.

22 Joe? Oh, not Joe. Peter.

23 MR. COOPER: So, I wanted to give you a
24 kind of a quick update on what --

25 COMMISSIONER SCOTT: Oh, she says you're

1 not coming through the mic.

2 MR. COOPER: There we go.

3 COMMISSIONER SCOTT: There we go.

4 MR. COOPER: All right. So, I just
5 wanted to give you a quick update on some of the
6 things that we've been working on, some of our
7 demand and supply for the workforce training
8 dollars that have been administered by our
9 program.

10 And our program, obviously, works
11 together closely with the State Board, with local
12 Workforce Development Boards, and colleges, trade
13 unions, and other State partners to administer
14 the funding.

15 Some of our recently funded projects
16 include futurist automotive, to train
17 manufacturing and production technicians, and
18 engineers. These are -- they produce car seats
19 that are a part of the supply chain for Tesla,
20 Faraday, Future and Karma.

21 And we funded, recently Drexler
22 Automotive. And this is a company that also
23 produces parts for Tesla. So, we're really
24 looking at the supply chain and not just the car
25 manufacturers.

1 One other thing that I wanted to mention
2 was that we are in the process of designing new
3 marketing materials for outreach, as well as
4 having a study done of our program, and
5 interviewing some of our contract holders. So,
6 this will be a resource for finding out what's
7 important for employers regarding their workforce
8 training needs in the future.

9 Just a couple of the contracts we've
10 funded in the last two years, Nass Energy Works.
11 Tesla has a contract. El Camino Community
12 College. L.A. Community College District. GFP
13 Ethanol. Buster Biofuels. Applied Materials.
14 KLA Tencor. And the California Labor Federation
15 Transit Project in the South Bay.

16 Regarding our current funding status,
17 right now we have about \$384,000 remaining in our
18 interagency agreement. And we see a demand of
19 significantly more than that.

20 The training -- the funding is not enough
21 for the demand that we see of about \$3.5 million.

22 Some of the projects that are in
23 development include Next EV, Proterra, Santa
24 Clara Community College District, Los Rios
25 Community College District, Karma, BYD, Faraday,

1 GM Cruz, and a couple of others. So that, all
2 taken together has a demand of almost \$3.5
3 million. Taking out the \$384,000 that we have
4 left, we have a need of around \$3 million.

5 So, we're requesting \$3 million from the
6 2018-2019 allotment. And we're supporting the
7 staff recommendation for \$3.5 million overall for
8 workforce training.

9 I have a couple of other comments. I
10 just also wanted to mention that not only do we
11 use the dollars that we receive from the Energy
12 Commission, we also use some of the money from
13 our core funding. As I've mentioned before, we
14 get training funding when employers pay their UI
15 tax, they pay their training tax.

16 And there are situations when an employer
17 will come to us and they will have a very broad
18 array of training needs. Some of them may not
19 fit within the confines of the requirements of
20 training under the ARFVTP. And so, they decide
21 to use our alternative funding, our core funding
22 for that.

23 And examples of those recently, Karma,
24 Futurist, and Drexel Meyer Automotive used our
25 core funding.

1 We continue to work with Governor's
2 Interagency Working Group on Zero-emission
3 Vehicles, and coordinate with GO-Biz.

4 And one of the suggestions coming out of
5 a recent meeting with the ZEV Action Group was
6 that there needs to be a better understanding of
7 the workforce needs in the zero-emission vehicles
8 field.

9 And so, we are thinking about seeing if
10 there's a way that a study can be conducted of
11 the workforce needs to guide future investment.

12 And lastly, some of the areas we see for
13 opportunities for training with these dollars
14 include the Sustainable Freight Executive Order,
15 SB 110, the school bus retrofit, and VW diesel
16 emission settlement. Probably not in the first
17 round of their funding, but maybe in their second
18 or third round of the VW settlement funding.

19 And there are a couple of other minor
20 changes that I would suggest to the text, but I
21 will put those into my written comments and send
22 them to you, so they can be incorporated.

23 COMMISSIONER SCOTT: Thank you.

24 Thomas.

25 MR. LAWSON: Good afternoon, Thomas

1 Lawson. You know, we had this discussion last
2 year and I'm really supportive of the workforce
3 investment funds.

4 One of the things I wanted to talk about
5 is I see a lot of this funds is going into the
6 community colleges. And it's been my experience
7 that you've got to go lower than that to reach
8 folks that may not even think community college
9 is an option for them.

10 And so, my question is how much of these
11 funds can we create a pilot project for maybe a
12 high school and in an area that has really
13 terrible graduation rates? Or, is there a
14 portion of the funds that go to the community
15 college where they can start to outreach to some
16 of these high school folks?

17 To date myself, I just had my 20th high
18 school reunion. Ran into a lot of folks, some
19 doing well, some not.

20 But, you know, high school's where you
21 start having that conversation. You know, what
22 are you going to do with the rest of your life?
23 And, you know, just knowing just kind of what
24 some of my friends and I went through, it's a
25 good time to provide them with an inkling of what

1 the future's going to hold.

2 You know, you talk about 2025, 2030, a
3 lot of these people who are in high school now
4 are going to be in a career by that time. And
5 we'd love to be able to have them working in the
6 green energy space. And so, that's something
7 that I'm just really concerned about. It's a
8 really big issue for me.

9 COMMISSIONER SCOTT: I think outreaching
10 to high school students is something that we are
11 definitely open to as well. And so, as we are
12 crafting what the upcoming solicitation ought to
13 look like, I think the best information, and
14 suggestions, and ideas that you can provide to us
15 on that would be warmly welcomed.

16 I have Joel, followed by Casey.

17 MR. ESPINO: Yeah, so really supportive
18 of this pot of money, too. I don't think we
19 appreciate how valuable this pot of money is in
20 terms of, again, its flexibility and the fact
21 that it's a yearly allocation for this purpose.

22 Like I mentioned previously, I worked
23 through the ARB and I know that there's a lot of
24 discussion around meeting our greenhouse gas
25 reduction goals and really focusing on cold

1 benefits. But, you know, that the climate
2 investment money has limitations in terms of the
3 GHG nexus that there has to be.

4 And so, the fact that there's money for
5 clean energy job development is really important.
6 So, I'm glad that the Commission continues to
7 provide funding for this purpose.

8 I would echo the comments that Eileen and
9 others have mentioned about the growth of jobs in
10 the clean energy economy. I don't think that we
11 should -- I think we should definitely consider
12 that as a fact of what's happening.

13 I think from a social justice advocate,
14 there are a few trends that give us pause in
15 terms of how this economy is developed and
16 whether it's, you know, solar, energy efficiency
17 or transportation electrification, which is --
18 you know, I mentioned this in my previous
19 comments that the whole point of this is that
20 we're trying to move into a better economy.
21 We're not trying to replicate this bad economy
22 that we're in, in terms of income and equality,
23 and access to opportunity. We're trying to
24 create something better, right.

25 And so, some of the bad trends that I'm

1 starting to see is particularly around, you know,
2 Tesla for example has been in the news recently
3 around essentially suppressing its workers from
4 unionizing. Some safety concerns there.

5 And so, I think again, as we use public
6 dollars to incentivize these companies we should
7 really use the -- you know, use the power of that
8 this is public funds to make sure that there's
9 some minimum requirements in terms of the wages
10 that they provide, the safety of their workers,
11 and so on, and so forth. I think that that's
12 key.

13 But we also have some positive trends in
14 the industry. BYD is an example of that. They
15 recently reached a community benefit agreement
16 with some labor folks and some social justice
17 advocates to make sure that they're targeting the
18 job opportunities to folks who come from
19 disadvantaged backgrounds, folks that are facing
20 barriers to employment.

21 I think these concepts should be no-
22 brainers in any of this type of investment,
23 whether it's in the CEC money, ARB money, or
24 otherwise there should be these types of
25 components embedded into it.

1 And I would definitely echo the comments
2 that Thomas made around, you know, really
3 thinking about the pipeline, right, and figuring
4 out ways to connect. At least start developing
5 some skills that are going to be necessary for
6 this future economy at the high school level.
7 And in particular, those high schools that have
8 kids who really lack opportunity, right. Some of
9 these come in under-served areas in California.
10 We need to really focus in, hone in on those
11 areas, build the skills there so that we actually
12 reach this just transition or else we're only
13 going to exacerbate kind of the existing
14 inequalities that we have.

15 And then just a couple more points, or I
16 guess questions around this workforce money and
17 things that it's funded in the past. I know that
18 there is a great need, when you talk about low
19 income folks, low income workers who are low
20 skilled, many of them, there's a great need for
21 pre-apprenticeship type programs. So, to the
22 extent that we can fund those types of programs
23 with this funding I think is really important.

24 And then, sometime that gets lost, too,
25 is this concept of support services. If you're

1 trying to help a low-income person gain a job
2 opportunity, there's a lot of barriers that that
3 low-income person might have. Transportation
4 being one of them. A lot of these apprenticeship
5 programs have very strict attendance schedules.
6 And so, just getting to the training is a
7 difficulty. And so, to the extent that we can
8 provide support services to help a low-income
9 access this training on a regular basis, I think
10 is key.

11 Child services. Obviously just income to
12 live. Because when you're a low-income family
13 you're living paycheck to paycheck. And if all
14 of the sudden you have, you know, this curriculum
15 that you have to take on and you can't work, then
16 you need to find, you need to have support income
17 for that.

18 And so, we need to bold about creating
19 and starting in vetting some of these things into
20 our programs, right. Or, else, this transition
21 that we all talk about and I've heard, you know,
22 for the past years is not going to happen.

23 So, just thinking about how we can be
24 bold, push the status quo and start thinking
25 about how we embed some of these things into

1 these programs.

2 COMMISSIONER SCOTT: I think I just want
3 to add to that. We are also, as you know, the
4 Legislature directed the Energy Commission, under
5 SB350, to study barriers to low-income
6 communities, being involved in renewable energy
7 and energy efficiency.

8 The Air Resources Board is looking at the
9 transportation component. And this is very much
10 on top of mind, as well. And so, the lessons
11 learned there are translating over to this
12 program and how we set up workforce development
13 and training, and vice-versa.

14 So, we do have -- even though the SB 350
15 Barriers Study is not the topic of today, we've
16 got lots of great information there that we're
17 also pulling in to help support the types of
18 training that we would be looking at.

19 Casey and then Ellen.

20 MR. GALLAGHER: I would like to echo
21 Thomas and Joel on, yes, we need to create a more
22 strategic pipeline. That it's not just the
23 community colleges, but also thinking about high
24 school. But also, what is the mechanism that
25 connects each one of these paths, including pre-

1 apprenticeship programs, apprenticeship programs
2 and anything that leads into a full-time career?

3 This could be community-focused, demand-
4 driven, so any kind of partnership with
5 employers, but also being worker focused at the
6 same time.

7 That we need to create careers that's not
8 just a gig, not just a job. That those
9 partnership linkages with the community colleges.
10 The community college is one of the best kept
11 secrets in this State. They're basically in the
12 forefront of vocational training at a great
13 price, but always a way that employers can be
14 linked up to them.

15 So, example, my question is, after
16 singing praise, would be the Cerritos College
17 Partnerships, that plan, what way, if anyone know
18 how they incorporate employer partnerships or
19 leaning towards actual full-time employment?

20 MS. HAAS: We visited Cerritos and they
21 have the partnership with the OEMs and some of
22 the utility maintenance workforce. And some of
23 the OEMs actually offer scholarships to some high
24 school students, or their students. They also
25 offer dual enrollment, you know, so that these

1 high school students can come and attend, and get
2 college credits.

3 MR. GALLAGHER: Excellent.

4 MS. HAAS: So, they are outreaching.

5 MR. GALLAGHER: Okay. And with the
6 Cerritos and Rio Hondo, do they have any kind of
7 numbers on job placement or internships that they
8 might be introducing?

9 MS. HAAS: Not at this time, but we are
10 working with them to try and determine a way to
11 measure that.

12 MR. GALLAGHER: Okay. All right, thank
13 you.

14 MS. HAAS: Uh-hum.

15 COMMISSIONER SCOTT: Thank you.

16 Ellen.

17 MS. GREENBERG: Thank you. Sorry. Just
18 another connect-the-dots here. So, career
19 pathway is a big emphasis at L.A. Metro, given
20 the size of the infrastructure project. So, Phil
21 Washington who's there, GM has spoken. This last
22 week I heard them talk about their efforts to
23 start a grade 6 through 12 transportation school.
24 And they are, you know, focusing very seriously
25 on long-term pipeline, you know, within the

1 industry.

2 So, I think for the Commission and others
3 around the table that might be a connection
4 really worth making.

5 COMMISSIONER SCOTT: Great, thank you.
6 Go ahead, Peter.

7 MR. COOPER: Yeah, I just want to mention
8 that my other hat, pretty much at ETP is working
9 on apprenticeship programs. And this has mostly
10 been in the construction trades. We fund about
11 \$15 to \$16 million a year for pre-apprentice,
12 apprentice and journeyman training through our
13 core funding.

14 A good chunk of that has been with the
15 IBEW. And some of those IBEW apprenticeship
16 contracts have been the installation of EV
17 infrastructure. So, we're coming at it from that
18 direction as well.

19 I would love to be able to use more of
20 the funds from the Energy Commission, from AB 118
21 for pre-apprenticeship and fully fleshed out
22 apprenticeship programs.

23 One of the big challenges, as I think
24 I've mentioned before, is a lot of times there's
25 not the direct nexus that's required from the

1 legislation between what is -- what kind of
2 training is being provided. If it's a lot of the
3 pre-apprenticeship and some of the beginning
4 apprenticeship programs have classes that are
5 more general in scope for mechanics, for example,
6 and they're not specifically for, let's say for
7 hybrid engines, and things like that. They're
8 not technical enough to meet the criteria for
9 that nexus and so they're not permitted to be
10 funded through. At least this is what I've been
11 told.

12 So, we're working on that and seeing if
13 we can expand the outreach of our funding to both
14 pre-apprenticeship to apprenticeship programs.

15 But I also wanted to mention one of the
16 kind of more innovative things that the
17 Employment Training Panel is doing. If you're
18 from Sacramento, you probably know Mayor
19 Steinberg's initiative, called Thousand Strong.
20 It's an internship program across the City for
21 high school students. It's to try to get them in
22 the program, into career training. This is for
23 juniors and seniors.

24 So, we're supporting that program through
25 our core funding, as well as in collaboration

1 with the State boards, with some of their
2 discretionary funds. We usually don't fund down
3 to the age 16, 17. Usually, it's 18 and above.
4 But we're stretching, we're going down to age 16.
5 And we're looking at this as hopefully the
6 beginning of a new era for ETP to fund some of
7 the more -- some of the youth training which has
8 traditionally been the realm, the area for the
9 State Workforce Development Board.

10 And so, hopefully, we'll have more
11 flexibility as we see the success of the
12 Steinberg Thousand Strong campaign to work with
13 youth in this sector and other emerging sectors.

14 COMMISSIONER SCOTT: I don't have any --
15 I don't see any other members around the table.
16 I don't have any blue cards or yellow cards for
17 comment.

18 Okay, I'm seeing no public comment on
19 this topic.

20 So, let's now turn to our Hydrogen
21 Refueling Infrastructure overview.

22 Thank you, Tami.

23 MS. BERNER: Good afternoon. My name is
24 Jane Berner and I'm going to be speaking about
25 hydrogen refueling infrastructure.

1 The Energy Commission's Hydrogen Unit is
2 supporting the development of hydrogen refueling
3 stations to achieve a network of at least 100
4 publicly accessible stations, which is a
5 milestone established in Assembly Bill 8.

6 These stations will support the early
7 fuel cell electric vehicle or FCEV market in
8 California. Thus far, the Energy Commission has
9 funded 60 stations. Of these funded stations, 12
10 are located in disadvantaged communities.

11 Collectively, once they are all completed
12 and open to the public, the funded stations will
13 be able to support nearly 19,000 vehicles.

14 To put this in context, the California
15 Air Resources Board, their most recent
16 projections, based on auto manufacturer surveys,
17 estimate that 13,400 of CEVs will be on
18 California roads by 2020, and 37,400 by 2023.

19 Today we have 31 hydrogen stations open
20 to the public and they are capable of supporting
21 about 8,500 FCEVs.

22 The vehicle count data from auto
23 manufacturers through September of this year
24 indicate that there are just shy of 2,700
25 vehicles in California. Even though this number

1 seems small, we are achieving great growth. Two
2 years ago, there were only about 200 FCEVs in
3 California. And this time last year there were
4 925.

5 The amount of hydrogen that the stations
6 are dispensing to vehicles is growing at a rate
7 commensurate with that of vehicle rollout. And a
8 demand for fuel in some high use areas is
9 beginning to approach the available supply.

10 Here is a summary of the makes and models
11 of FCEVs that are available or are soon to be
12 available in the California market.

13 The Honda Clarity Fuel Cell is currently
14 available for lease at select dealerships in
15 California. And the Toyota Mirai is available
16 for purchase or lease.

17 Mercedes Benz has announced that the GLC
18 F Cell, which will actually be a plug-in fuel
19 cell hybrid, combining a fuel cell with a plug-in
20 battery, will be coming to market soon. And the
21 vehicle is scheduled to be on display at the L.A.
22 Auto Show next month.

23 There's also a Hyundai Tucson Fuel Cell
24 available to lease in California, now. But this
25 model will soon be replaced by a next generation

1 model known as the Hyundai Future Echo, or FE
2 Fuel Cell.

3 These vehicles all have or are expected
4 to have zero tailpipe emissions and have over 300
5 miles of range on a full tank. The refueling
6 time for these vehicles is about five minutes.

7 And other auto manufacturers, such as
8 General Motors and Kia, have made announcements
9 that they are including FCEVs in their plans for
10 the future.

11 Here is a look at the geographic
12 distribution of the hydrogen refueling network
13 today. The green icons show the 31 stations that
14 are open today. And the yellow are funded
15 stations that are in development.

16 The size of the icons represents the
17 stations' nameplate capacities, with smaller
18 stations offering up to 180 kilograms today and
19 larger stations offering more than that.

20 The maps on the right side of the slide
21 zoom in to show that the majority of stations are
22 clustered in the core markets of the San
23 Francisco Bay Area and the Greater Los Angeles
24 Area, which includes L.A. and Orange Counties,
25 and the Inland Empire.

1 The network also supports the early
2 markets here in Sacramento, and in San Diego, and
3 allows for travel between Northern and Southern
4 California with the station in Coalinga, which is
5 near Harris Ranch on Interstate 5. And with
6 another planned station for Santa Nella.

7 Travel to destinations like Lake Tahoe
8 and Santa Barbara is also possible. And note
9 that the Energy Commission has also funded a
10 moveable, temporary refueler, which is not shown
11 on these maps.

12 To share with you the most recent
13 developments with hydrogen refueling
14 infrastructure, here is a picture of the Fremont
15 Station, in the San Francisco Bay Area, which
16 opened on September 7th, of this year. It is
17 located between Interstates 880 and 680. It has
18 a unique station design that we expect to see in
19 more of the forthcoming stations, which is that
20 the hydrogen dispenser is integrated under the
21 same canopy as the other fuel types.

22 You may have seen photos of some of the
23 existing hydrogen stations and they are often off
24 on their own, on the side, or near the back of
25 the gas station property. But here the dispenser

1 is located in the front with the other fuel
2 dispensers.

3 Another notable aspect of this station is
4 that this station's fueling protocol testing took
5 only two and a half days, and this usually takes
6 at least a week.

7 There are a series of tests that all
8 stations go through to verify they are meeting
9 necessary standards before they can be declared
10 open to the public. And many of our partner
11 stakeholders, including the California Air
12 Resources Board, have been working to find ways
13 to make this process more efficient. So, we're
14 beginning to see some good results and Fremont
15 has been the best example of this so far.

16 While Fremont is the most recent station,
17 or the 31st to open in California, it also marks
18 the 18th station that Developer First Element
19 Fuel has delivered. We now have several
20 developers who have had a good amount of
21 experience going through the hydrogen station
22 development process, which is helping to reduce
23 the time needed to build stations.

24 And finally, on October 9th, 2017, there
25 was an event, attended by Commissioner Scott, to

1 celebrate the reopening of the Torrance Station,
2 which is located right off of Interstate 405, in
3 Southern California. This station has previously
4 been a non-retail station and the Energy
5 Commission funded an equipment upgrade. The
6 upgraded station opened to the public on August
7 18th, of this year, making it the 30th station in
8 California.

9 This event, though, is later on October
10 9th, and was scheduled in conjunction with
11 National Hydrogel Fuel Cell Day. And on this
12 day, there were several events with FCVE drivers
13 and that demonstrated a lot of excitement about
14 the vehicles and the technology.

15 This station is notable in a few ways.
16 First of all, it has two dispensers and two
17 fueling positions, which means that two vehicles
18 can be fueled at the same time. This two-
19 dispenser design also provides redundancy. So,
20 if one dispenser is undergoing maintenance, the
21 other is still available for use.

22 And almost all of the most-recently
23 funded hydrogen stations will have multiple
24 fueling positions, as well as greater station
25 capacity to be able to fuel more vehicles each

1 day.

2 These features should not only build
3 customer confidence in fueling availability, but
4 they should also improve the economic potential
5 for station ownership and operation.

6 Second of all, this station is the first
7 retail station from Shell, in the United States.
8 And it is located on Toyota property, right next
9 to the Toyota campus, in Torrance. And it's a
10 good example of how our public dollars are
11 encouraging additional private investment in
12 these stations, including investment from major
13 energy and fuel companies, and auto
14 manufacturers.

15 Thank you.

16 COMMISSIONER SCOTT: Thank you.

17 So, we're going to start with Brian, who
18 I know has to depart shortly. And then, Bonnie,
19 you had a question from earlier that we'll follow
20 up on when Brian's done.

21 MR. GOLDSTEIN: Thank you very much.
22 I'll try to keep it as short as possible. But
23 I'd like to thank the Energy Commission for
24 continued support of the hydrogen program.
25 Obviously, the launch, kind of a nascent fuel

1 type, it's taken a long time. And I think in the
2 last year or so we've seen huge benefits.

3 I think it's funny to say, but we've seen
4 a thousand percent increase in the number of
5 hydrogen fuel cell electric vehicles on the road
6 just over the last year. We've gotten great
7 numbers that are projected in the latest AB 8
8 report. And that's straight up thanks to the
9 fact that the Energy Commission's building
10 infrastructure right now.

11 So, of the 60 funded stations, it's
12 amazing to see that 12 of them are in
13 environmental justice communities. And I'll kind
14 of just go down the list here.

15 One thing that struck me was the
16 importance of the mobile refueler that you guys
17 are focusing on, which allows extreme flexibility
18 in kind of the early days of infrastructure
19 development. And that flexibility could send
20 refueling to disaster zones that would enable
21 medium-, heavy-duty vehicles to get in and out.
22 It can send it, you know, to event locations,
23 like the upcoming Olympics to facilitate clean
24 transport for large events.

25 And can open up, you know, tourist

1 traffic to National Parks, to the ski reports.
2 So, the mobile refuelers really offer a lot of
3 flexibility and I would certainly encourage, you
4 know, additional research into what's kind of the
5 sweet spot of the number of mobile refuelers that
6 we could use to really open the State up to
7 hydrogen transport.

8 You know, we talked a little bit, and to
9 build on Thomas' comments, I think that education
10 outreach opportunities are huge. I think, you
11 know, across fuel types reaching out to whether
12 it's high school students, the education
13 community as a whole, and the environmental
14 community, media, whoever it may be. I mean, it
15 seems like as a group we're constantly, you know,
16 defending the work that we do to support each of
17 these fuels types, right.

18 And so, the ability to kind of reach out
19 beyond, you know, our own group and kind of talk
20 about the wins that we've had, and well beyond
21 just the environmental wins.

22 The job creation numbers, the tax
23 benefits, GHG displacement data, you know, we've
24 seen those numbers broken down for some for some
25 of the specific fuel types here. But I think it

1 would be great to actually break those down for
2 each of the fuel types.

3 And that way we'll be able to show, you
4 know, internally in the State we'll put
5 policymakers in a position to continue to defend
6 the programs that we have and to support new
7 programs. And we'll continue to set an example
8 for the rest of the country and the world, as
9 well.

10 And for those that just don't want
11 climate change to be a part of the conversation,
12 we can show hard data on the economic impacts of
13 the work that we're doing.

14 So, happy to see that for some of the
15 fuel types, excited to see it for the rest.

16 I want to encourage funding for research
17 in emerging opportunities relative, you know,
18 specifically to hydrogen and the other fuel
19 types. But the Energy Commission has begun to
20 put funding behind renewable hydrogen production
21 and, obviously, you know, we're well into the
22 infrastructure development phase of the funding
23 here.

24 But I think looking at research into how
25 to launch private market initiatives to

1 eventually take over the investment into both
2 production infrastructure and fueling
3 infrastructure would be relatively inexpensive
4 compared to the budgets that we're talking about
5 and could really help kind of boost private
6 market efforts into eventually, you know, kind of
7 taking over development.

8 So, I want to encourage additional
9 research into, you know, financial modeling and
10 methods to start to incorporate the private
11 market there.

12 Community readiness planning, I spoke a
13 little bit to this and I realize that there's not
14 new community -- well, there is no new community
15 readiness planning funding available. But I've
16 seen huge progress. Specifically, you know, some
17 of the funding went to the Central Coast and the
18 Tri-County area, I think it was Santa Barbara,
19 San Luis Obispo and Ventura.

20 And they realized that they are not
21 necessarily, you know, a population center that's
22 going to see multiple hydrogen stations come in,
23 but they are a connector community between
24 Northern and Southern California.

25 And being part of those meetings, we

1 really saw -- you know, I saw the stakeholders in
2 that group acknowledged that, hey, we're probably
3 not going to get a lot of CEC funds here, but
4 let's look for other ways to try to attract
5 infrastructure investment here. So, they were
6 reaching out to fleets. They were looking for
7 funding with their local APCDs.

8 And so, it really encouraged that
9 conversation and acknowledgement, hey, even if we
10 don't receive CEC funding, if we're not a great
11 candidate, let's find other ways to find that
12 funding and to build the infrastructure.

13 And so, I think that would hold true
14 across fuel types.

15 But I think for, you know, a little bit
16 of funding, relatively speaking, that went a very
17 long way.

18 I'd like to encourage the CEC to look for
19 connector station opportunities. And not just
20 hydrogen. I think there would be opportunities
21 to co-located all the fueling infrastructure and,
22 again, try to save money on whether it's the
23 zoning and permitting or the infrastructure that,
24 you know, is going below the station.

25 But, you know, I think finding those

1 connector opportunities on the coast. We have
2 one connector on the I-5 Corridor, which is
3 great. I think some redundancy would certainly
4 be helpful there and allow the automotive OEMs to
5 really kind of push the fact that you can drive
6 from north to south pretty easily.

7 But looking at kind of the far western
8 corridors and the far eastern corridors that
9 would open up, you know, tourist traffic through
10 the State Parks and National Parks and,
11 similarly, along the coast.

12 Let's see. And, finally, I just wanted
13 to -- well, there are actually two more things.
14 I want to encourage the Energy Commission to
15 continue looking at manufacturing opportunities
16 in this space. I mean, this is really an
17 emerging market there. We've seen some
18 consolidation among the like electrolyzer
19 manufacturers. We'll certainly see domestic
20 component manufacturers coming in to try to
21 supply parts for these vehicles moving forward.

22 So, to encourage them to come to
23 California, I think it's kind of the low-hanging
24 fruit here. We know that we're going to be
25 selling tens of thousands of these vehicles in

1 coming years, so the opportunity to manufacture
2 either hydrogen production equipment or vehicle
3 components in California seems like it's right
4 there for the taking. We know this is coming
5 right now.

6 And then, finally, I just wanted to make
7 a comment about the advanced freight and fleet
8 technology section. I think, you know, it's
9 great to see that there has been some funding
10 allocated for hydrogen medium- and heavy-duty
11 vehicles there. But I think we're seeing great
12 strikes in that area from, you know, everyone
13 from the automotive OEMs to some startups. But
14 it looks like roughly 10 percent, a little over
15 10 percent of the overall funding has been
16 allocated for hydrogen medium- and heavy-duty
17 vehicles.

18 But I think that you'll see there's a
19 growing demand for that type of technology. It's
20 a little more expensive, but the range benefits
21 are absolutely huge. Especially, in areas that
22 need that range. So, goods movements coming out
23 of the ports. You know, frankly, those trucks
24 need to be able to move 100 to 200 miles out to
25 the distribution centers.

1 And I think they're highly interested in
2 hydrogen, but they're a little scared of the
3 expense of it right now.

4 So, again, I want to thank the Energy
5 Commission for its ongoing commitment to this
6 fuel type and to the other four that are
7 represented in the program this year. And
8 looking forward to seeing the progress in 2018.
9 Thank you.

10 COMMISSIONER SCOTT: Thank you.

11 Bonnie and then John.

12 MS. HOLMES-GEN: So, I guess as a follow
13 up -- my question was if we could get more
14 information on the status of renewable hydrogen
15 and the development of that resource? Right now,
16 it looks like we're about 37 percent across the
17 stations. So, what would be a likely date we
18 could get to 100 percent renewable hydrogen I
19 guess is my quick snap shot of the question?

20 MS. BERNER: Yes, thank you. So, in
21 terms of reaching 100 percent, I think we are
22 investigating that and we aspire to that, but I
23 don't have a firm number to give you today.

24 As was mentioned previously, we had a few
25 workshops this year, exploring supporting the

1 production of renewable hydrogen. And so, I
2 think we will know a lot more once we get further
3 along with that process about the technologies,
4 the facility designs, the what is reasonable in
5 terms of how quickly we could get to 100 percent
6 renewable.

7 And we have begun looking at just the
8 numbers in terms of how much hydrogen we need, if
9 the vehicles and the stations roll out as we
10 project.

11 For instance, we believe we will need
12 about 5,500 kilograms a day of renewable hydrogen
13 by 2022 to meet the 33 percent goal. And, of
14 course, more for 100 percent. So, we're
15 beginning to look at those numbers and certainly
16 should have more information in the future.

17 MS. HOLMES-GEN: Well, I appreciate that.
18 I think it's great that we have both the other
19 category that includes funding for renewable
20 hydrogen.

21 Now, I'm assuming that there's funding
22 also from this category that would also go
23 towards assisting with renewable hydrogen
24 stations. Correct, both of these categories
25 would go toward that?

1 MS. BERNER: I don't know, did you want
2 to, Jacob, or do you want me?

3 MR. ORENBERG: Actually, I don't know for
4 certain whether or not the funding from renewable
5 -- sorry, from hydrogen refueling infrastructure.
6 I don't know for certain if any of that funding
7 has gone to the on-site electrolyzers that
8 produce renewable hydrogen.

9 Actually, I spoke with the head of the
10 Hydrogen Team earlier today, at the lunch hour,
11 and she suggested I point out page 37 that talks
12 about renewable hydrogen production on the
13 bottom.

14 You know, at the moment we don't have an
15 estimate of when we'll hit 100 percent, but we're
16 working towards it.

17 MS. BARONIS: So, I'm Jean Baronas,
18 Supervisor of the Hydrogen Unit. And so, we've
19 funded six electrolysis on-site stations, which
20 is on page 37 of your report.

21 Currently, one is operational and open
22 retail and dispensing around 60 kilograms a day.
23 And that station cost \$2.125 million.

24 So, as Jane pointed out, the stations now
25 are larger than 300 kilograms a day. So, it's

1 not linear, but it would probably cost more than
2 \$2.125 million to obtain a large electrolyzer
3 station.

4 MS. HOLMES-GEN: Do you have any
5 estimates on the cost curve going down?

6 MS. BARONAS: Yes, we do. We expect the
7 cost curve to go down. And we publish that in
8 December, in our Annual Joint Report with the
9 California Air Resources Board.

10 MS. HOLMES-GEN: Well, thanks for the
11 information. It's of great interest in terms of
12 getting to zero-emissions.

13 And it would be helpful just to get
14 clarification, then, if any of the hydrogen --
15 the \$20 million could also go to that
16 electrolyzer or other process to produce
17 renewable hydrogen. Thank you.

18 COMMISSIONER SCOTT: Thank you.

19 I have John and then Tyson.

20 MR. SHEARS: Yeah, sort of along similar
21 lines, and I'm not sure how thoroughly it was
22 covered at the beginning of the presentations
23 this morning. But I just wanted to highlight
24 that through SB 1383 there's the work that's
25 going on under the Low Carbon Fuel Standard to

1 try and develop ways to sort of incentivize fuel
2 production, renewable gas, renewable hydrogen
3 from dairies.

4 Likewise, there's the workgroup process
5 where sub-group two of the Short-Lived Climate
6 Pollutants Dairy and Livestock Workgroups is
7 looking at ways of incentivizing, you know,
8 greater production of methane for
9 commercialization purposes. Economics are more
10 attractive on transportation than on the grid
11 side.

12 But also, would like to encourage not
13 necessarily specifically through the ARFVTP
14 program, but just more holistically, a deeper
15 dive into -- continuing, you know, into the deep
16 dive in terms of hydrogen, the duck curve issue,
17 and the connection between hydrogen and a
18 continuing de-carbonized grid.

19 A lot of folks get focused on hydrogen
20 and fuel cell cars, but the story going forward
21 in terms of climate and where we need to go is
22 going to be not just about a near-zero grid. And
23 it might have to be an, actually, zero carbon
24 grid. Because some of the other economics
25 sectors, you know, that have their targets may

1 not make it. So, we're going to need some things
2 to be able to perform really, really well to
3 compensate for those that just can't get there.

4 The other facet of that in terms of de-
5 carbonizing the economy is that hydrogen will
6 have a much broader economic role than just
7 transportation. But transportation is a key
8 component of that.

9 The work around, you know, the inclusion
10 of electrolyzers and what the best strategy is,
11 you know, whether it's like small on-site, or if
12 we go to a sort of a similar model with a sort of
13 centralized electrolyzer that's delivering out to
14 local stations.

15 You know, we have projections that are
16 based on what we know now, but we need to develop
17 better learning curves that comes through
18 learning by doing.

19 Because the challenge we have right now
20 is because the gas companies right now are not in
21 this business as retail fuel, competitive retail
22 fuel business. They recognize there's a
23 potential business opportunity right now.

24 But we need to put as much pressure on
25 this market to get the hydrogen produced for

1 transportation fuel to really be sold at a
2 competitive rate to the station providers. And
3 that's like one of the challenges that we're
4 still dealing with right now. So, a lot of the
5 auto companies basically subsidize, if not
6 completely absorb the cost of the fuel right now.

7 So, we really need to keep our eye on
8 that issue and work hard to, you know, push the
9 market in a direction where we can get
10 competitive juices going in terms of the pricing
11 of the fuel.

12 So, just wanted to offer those
13 perspectives. And, you know, let's keep on
14 funding those stations.

15 (Laughter)

16 MR. SHEARS: And in terms of the success
17 in the accelerating facility with which they're
18 being permitted and installed, I want to thank
19 our colleague, Tyson, and the staff at GoBiz for
20 all of their great work in helping the providers
21 get better on that.

22 I have a few other issues around
23 performance requirements through the
24 solicitations that should be imposed on the
25 grantees and that, but I'll leave that for a

1 sidebar discussion.

2 COMMISSIONER SCOTT: Okay, thank you.

3 MR. ECKERLE: Great. Well, thanks for
4 the lead in, John. And the expedited permitting
5 and stuff, a lot of the credit goes to the CEC
6 staff, who also played an active role and
7 continue to play an active role in doing that.
8 So, we've had some really, really good -- and I
9 think we all know this is a particularly
10 important category.

11 I think, you know, we talk about the
12 plug-in charging infrastructure, there's a lot of
13 other places that are funding that and this
14 really is the only game in town here.

15 And so, the importance of the Energy
16 Commission staying strong is great and sends
17 those big signals. And we're seeing a lot of
18 great things happening.

19 Next week, the Hydrogen Council will be
20 releasing their report, which shows a bunch of
21 the market potential across the globe for
22 hydrogen. So, on November 13th we should be
23 looking for that.

24 But, yeah, I just wanted, in the interest
25 of time, just voice a strong support for this

1 continued funding.

2 COMMISSIONER SCOTT: Other Committee
3 Members?

4 Okay, I have one blue card and that is
5 from Bud Beebe from the California Hydrogen
6 Business Council.

7 MR. BEEBE: Good afternoon. I'm Bud
8 Beebe with the California Hydrogen Business
9 Council. Thank you very much for the opportunity
10 to speak to this great program.

11 You know, I just wanted to say like two
12 things. I've got three things to say, but two of
13 them I'll actually get out, I think.

14 One is that this is a great program and
15 it's an important program. And I think that
16 people around here, when we look at a funding
17 program it's inevitable that the mind sort of
18 like begins to think in terms of zero sum.

19 But, you know, these programs, this
20 budget, this plan is not a zero sum, really,
21 because there are many integrated programs across
22 different agencies that are really important.
23 Some of them, in other agencies, are absolutely
24 dependent upon your refueling infrastructure or
25 they can't go forward.

1 Some of the other programs that would
2 bring, say vehicles into this process, are
3 essential to you in order to go forward if you're
4 going to do some refuelers, right.

5 So, there's a lot of interdependence
6 here. But the question is, like how un-zero sum
7 is it?

8 Well, what we're looking at in terms of
9 electric vehicle charging stations, suddenly, is
10 a -- we're starting to use the term "billion
11 dollars" socially funded program through IOUs and
12 POUs to really, really accelerate the
13 availability of electric vehicle charging
14 stations in California, and that's wonderful.

15 You know, we've worked hard. Your hard-
16 won success has brought great progress there.
17 That's good. But it does give an upside to the
18 recharging stations that is not available to
19 hydrogen at its particular point in infancy.

20 And so, I just wanted to point out that
21 as greater funds and other areas of recharging
22 become available perhaps the monies available in
23 these programs can begin to look strong towards
24 hydrogen as one of those incubatable programs
25 that we need so much in the future.

1 I was looking on page 57 of the plan and
2 there there's a table. Is it Table 15? I'm not
3 sure. But it just shows the growth that you've
4 been able to give to the hydrogen refueling
5 infrastructure there vis-à-vis a couple of other
6 program areas. And it turns out that the amount
7 of additional funds available to hydrogen is tiny
8 relative to the amount that you've increased the
9 others.

10 Both of those increases, all three of
11 those increases are too little and there's not
12 enough money, I understand that. So, in a sense,
13 there is a zero sum here. But some zero sums are
14 more important to programs than other zero sums.
15 I'll say it that way.

16 Moving on, just to underscore --

17 COMMISSIONER SCOTT: So, I'll just have
18 to ask you to conclude.

19 MR. BEEBE: Yes, this is my second point
20 that I'm getting to. That both hydrogen and
21 electricity are energy carriers. They're not
22 primary renewable energy resources.

23 And so, just as we did not require
24 electric vehicles to be fueled by 100 percent
25 renewable electricity ten years ago -- and, in

1 fact, if you refuel today, you know, unless
2 you're buying that wreck yourself, you're getting
3 grid electricity and you're still getting 40 or
4 50 percent non-renewable electricity in your
5 vehicle.

6 So, why would we burden hydrogen at its
7 infancy with an absolute requirement to have
8 renewable energy? As it can do. It's a
9 renewable energy carrier, just like it's an
10 energy carrier for any other energy resource.

11 So, let's be clear that in infancy let's
12 keep our eyes on what's going to be in the
13 future, where you have these two strong pillars
14 of energy carriers, electricity and hydrogen,
15 that complement and reinforce each other.

16 You can convert one to the other, to the
17 other, to the other. It gives great capability
18 to a future place because when you use hydrogen
19 or when you use electricity to fuel the things
20 that society wants to fuel in our urban areas, in
21 our rural areas, when you do that you give the
22 capability of being able to use renewable energy
23 to do that final function. And you can do it in
24 a way that has no criteria pollutants and no
25 carbon.

1 So, let's get there by understanding the
2 infancy situation that hydrogen finds itself at
3 this time. Thank you.

4 COMMISSIONER SCOTT: Thank you.

5 I don't have any other blue cards from
6 the room. Do I have any folks on the phone? I'm
7 getting a no.

8 All right, so let us -- and thank you
9 Jane and Jean -- turn to our Natural Gas Vehicle
10 and Infrastructure. And that will be a
11 presentation with Sarah Williams.

12 MS. WILLIAMS: Good afternoon. My name
13 is Sarah Williams. And this is a presentation,
14 as the Commissioner said, about natural gas
15 vehicles and infrastructure.

16 This is the solicitation that Jacob
17 mentioned earlier, GFO-16-1602, where we were
18 funding school district projects. All three
19 projects were for local school district. We
20 focused there because that limited provides
21 public benefit to school children who are
22 disproportionately affected by the emissions of
23 school buses and are more susceptible to the
24 adverse effects of the pollutant exposure.

25 Because I know it's come up, I just

1 wanted to take a moment while we're on this slide
2 to mention that in response to this we have done
3 some outreach to stakeholders to see what we can
4 do to increase demand. And we have some great
5 new ideas to that, that should be coming out in
6 the future.

7 These are our recipients. Lemoore, Kings
8 Canyon and Exeter Unified School District. They
9 are all making good progress on their projects.

10 Here are some pictures of what our
11 infrastructure projects look like. We have
12 Huntington Beach over here, on both of these.
13 This is their work in progress.

14 On the top left is the drier, compressor
15 and storage vessel set and on the bottom left is
16 the new equipment delivered to the site.

17 Kings Canyon is on the top right here.
18 And then, this is Beaumont Unified School
19 District's finished slow fill system, with a bus
20 being filled.

21 So, this is a breakdown of the investment
22 portfolio. There's a good mix of light-, medium-
23 and heavy-duty vehicles to date. This is the
24 funding for vehicles.

25 Here's a description of the UCI Incentive

1 Program, which has encouraged the purchase of
2 many natural gas vehicles. We've got a large
3 amount of waste disposal vehicles and other
4 vehicle options.

5 And then, here are some samples of those
6 vehicles. We've got buses, and box trucks, and
7 delivery trucks and, of course, refuse trucks.

8 So, that's what we're doing with natural
9 gas vehicles and infrastructure.

10 COMMISSIONER SCOTT: Great, thank you.

11 Thomas?

12 MR. LAWSON: Thank you for the
13 presentation. I'm actually really excited to
14 hear those new ideas on what folks suggest on
15 increasing participation. Looking forward to
16 that.

17 I had a question on the infrastructure
18 piece and that was if you are a private fueling
19 station, can you use these funds to convert it
20 into a public/private fueling station if there
21 are costs associated with that? And does that
22 have to be a particular -- it has to be a school?

23 So, let's just say a school already has
24 one of these stations and maybe they want to turn
25 it into a public/private, can these funds be used

1 for that? You don't have to answer right now.
2 If you have an answer, that would be great. But
3 at some point, I just want to get it.

4 MS. WILLIAMS: That would be
5 solicitation-specific. And the solicitation that
6 we had last year, the requirement was that the
7 school district be the applicant. So, if the
8 school district wanted to partner in that way, we
9 probably would have looked for definite, clear
10 lines that the school district would get their
11 fueling needs met first.

12 But I believe there might have been a
13 requirement, also, for school district ownership.
14 I don't remember exactly.

15 But like I said, this is solicitation-
16 specific, so this solicitation may have had some
17 requirements, but future solicitations may
18 change.

19 MR. LAWSON: Okay. One of the other, I
20 guess a couple of clarifying questions I had, as
21 well. You know, is there an opportunity to find
22 out which reservations are going to expire by
23 November 30th and by December 31st, just so we
24 can get a sense of what percentage we think is
25 going to possibly go back or not go back into the

1 account?

2 MR. FREEMAN: Yeah, good afternoon,
3 everyone. My name's Andre Freeman. I'm the
4 Supervisor for our medium- and heavy-duty vehicle
5 activities.

6 So, I know we had a discussion just
7 yesterday on this topic and we'll be having a
8 couple of follow-up discussions, as well as a
9 public workshop sometime early next year.

10 Yes, we do have a list of individual
11 reservations and kind of the time table of what
12 the expectation for the expiration is for the
13 incentive program.

14 And again, our next big, time point is
15 coming up at the end of this year. And based on
16 how much uptake we'll have seen for the vehicles,
17 that will kind of lead us to figure out, again,
18 is this mechanism working currently? Can some
19 minor tweaks be made to improve the uptake of the
20 incentives? Do we need to do a complete
21 overhaul?

22 And then, also, as we discussed
23 yesterday, with a significant portion of funding
24 going to the Air Resources Board for vehicle
25 deployment how can we best, you know, have a

1 complementary program, not an overlapping
2 program.

3 One of the things that we've found quite
4 often in the request for information that we did
5 towards the end of September, was a lot of folks
6 are confused about which program's which? Which
7 agency's running which program? What the certain
8 requirements of programs are? Which ones have
9 scrappage requirements? Which ones have -- just
10 cover the incremental costs between diesel and
11 natural gas? Which ones pay for scrappage plus
12 natural gas?

13 So, we're really looking for ways to
14 improve, you know, the communications and
15 outreach on these activities, as well as the
16 administrative aspects.

17 You know, our current incentive program
18 has -- you know, it only takes filling out one
19 piece of paper to get access to the incentive
20 reservation and then one piece of paper with
21 their vehicle registration forms to confirm that
22 they utilize it as expected.

23 But there's challenges on the
24 administrative aspect to get an individual fleet
25 manager to come to the table and actually learn,

1 read through an application manual which is a few
2 pages to get through. Understand the
3 requirements. And even before that know to come
4 to the Energy Commission or through the UC Irvine
5 Program to get access to those incentives.

6 So, yes, we can definitely get you a list
7 of the upcoming incentives, but I think there's a
8 quite larger story about, you know, what steps we
9 can take to get that money better utilized in the
10 future.

11 MR. LAWSON: Is the current
12 administrative program, is there some kind of a
13 contract that expires or is that something -- is
14 there an ongoing relationship or is there an
15 opportunity for other administrators of other
16 programs to weigh in on best practices or, you
17 know, apply to run this program? I don't know
18 what that status is.

19 MR. FREEMAN: So, going back to the
20 encumbrance requirements that were described
21 earlier today, we have the UC Irvine locked up, I
22 believe, for three more years.

23 When we gave them this allocation of
24 funding, the original \$10 million and then the
25 subsequent, additional \$10 million, that money

1 had to go through the program that UC Irvine is
2 managing for us.

3 MR. LAWSON: Okay.

4 MR. FREEMAN: But any subsequent dollars,
5 again, we're taking, you know, a breath in the
6 program to really say should we put more money
7 into that funding mechanism? Maybe tweak some
8 of the requirements? Should we go a totally
9 different route?

10 Aside from the Vehicle Incentive Project
11 that we run now, we've also done grant funding to
12 get things like the low NOx engine deployments
13 that we're going to be doing down at the port of
14 Los Angeles in the coming year. As well as we're
15 looking into opportunities to work directly with
16 some of the air districts to meet some of their
17 unmet funding needs when, you know, they've
18 already had a funding opportunity that came out,
19 that's over-subscribed and we'll see if we can
20 help them meet some of those needs, as well.

21 MR. LAWSON: Okay, great. I had a couple
22 of questions or clarifying questions. There was
23 some staff comments on page 56 that was dealt
24 with, you know, diesel engines and their being
25 clean versus natural, and versus natural gas

1 engine using renewable natural gas.

2 When I was in Indianapolis two, three
3 weeks ago, at Thomas Westport, and they rolled
4 out and announced that they are no longer going
5 to make a regular natural gas engine. That the
6 remaining engines that they have will all be low
7 NOx, a 6-liter, 9-liter and a 12-liter. And I
8 think that that will make a big difference,
9 obviously, on what's on the table when you start
10 talking about incentives, and those reductions,
11 and those comparisons.

12 And I just wondered if the staff has
13 heard about that? I don't know if you have and
14 that should be incorporated into the comments.

15 I think the other issue that I wanted to
16 raise was, you know, one of the things that the
17 industry's been dealing with is obviously the low
18 comparison between natural gas and the cost of
19 diesel, or oil-per-barrel over the last few
20 years. And this time last year I think it was
21 half of what it is now.

22 And so, when you start looking at
23 particular projects that, you know, we're going
24 to fund and, you know, they're snapshots in time,
25 it's very interesting to say at that time what's

1 successful and what's not.

2 But now we know, obviously, we're only
3 six days into a new tax on diesel here in
4 California. The price of oil has doubled just
5 recently.

6 And then, we have the 12-liter low NOx
7 engine which isn't commercially available until
8 February of 2018. So, those things are on the
9 horizon and we haven't seen the impacts of those,
10 yet.

11 And so, I wonder what those impacts will
12 be on kind of where we are as far as what monies
13 are going to be sought after? It's hard to say
14 how much the 12-liter is going to be compared to
15 when people are going from that big, diesel
16 engine to that large, natural gas low NOx engine.

17 So, that's something that we're working
18 with Air Resources Board on with, you know, that
19 cost differential and trying to figure out and
20 nail down that number, specifically.

21 And then, we look at other things like
22 the adoption of the Clean Air Action Plan at the
23 ports, and all of these things which are just now
24 happening which I think will generate some
25 activity in 2018 and 2019 that we'll want to take

1 those all into account, as well. So, those are
2 my comments.

3 MR. FREEMAN: Yeah, definitely. So,
4 we'll be following on all of those things and we
5 have been participating in the Air Resources
6 Board workgroup meetings for the HVIP, natural
7 gas vehicle incentives, talking about the
8 incremental price change.

9 And if you look at our program, you know,
10 you definitely could tell a difference between
11 five or so years ago when it was easy. You know,
12 gas and diesel were \$4.00 a gallon. It was a
13 really easy case for the dealer to make that sale
14 on the lot to say, you know what, there's an
15 increased cost for natural gas infrastructure,
16 but here's what it can bring you if you're a
17 large fuel consumer. And that's definitely a lot
18 different today. So, we will be taking a hard
19 look at that.

20 And then, also, through our existing
21 contracts with Cummins Westport that enabled the
22 developed of two low NOx engines, we'll
23 definitely be looking for the latest and greatest
24 information from them, especially with the 12-
25 liter right around the corner. And we'll make

1 sure that the most up-to-date info gets put into
2 the Investment Plan.

3 COMMISSIONER SCOTT: And if you could be
4 sure to send us, too, some of the things that you
5 mentioned, the announcements, that would be
6 fantastic for us to have on our record.

7 MR. LAWSON: Happy to.

8 COMMISSIONER SCOTT: Thank you.

9 Do I have other Committee Members around
10 the table who would like to comment?

11 Okay, I see a blue card coming my way
12 from -- oh, I'm sorry, Bonnie. Please go ahead.

13 MS. HOLMES-GEN: Yeah, I have a couple of
14 comments, but it kind of goes into the next
15 section so I don't know if I should wait. I'll
16 just say that as is noted in the report that
17 there's a lot of information that we still need
18 to get and to consider about natural gas as we go
19 forward, to fully understand the methane leakage
20 potential and how that affects the GHG, impacts
21 the GHG reduction potential of use of natural
22 gas.

23 So, I just wanted to point out, number
24 one, that there's still information to be
25 determined to better understand the natural gas

1 pathway and the full fuel cycle benefits, and
2 what is the true GHG reduction benefit of the
3 fuel. And it's obvious it's been discussed, but I
4 just wanted to point that out.

5 And the second thing, and the ARB is
6 undergoing a lot of research specific to the LCFS
7 pathways, to take a look at that pathway so we
8 have more information to be incorporated in here.

9 And, you know, so I also just wanted to
10 mention in terms of AB 1257 that's mentioned in
11 here, I guess that's in Chapter 5 but, you know,
12 the point of 1257 wasn't to -- the point was to
13 look at all of the impacts and benefits of
14 natural gas. It wasn't to push one particular
15 fuel option. It was to provide a more
16 comprehensive look at the fuel. As I know that
17 there have been reports that have been done, and
18 there have been updates. But just the way it's
19 framed in here, I just wanted to make that
20 comment.

21 And finally, there are -- I think we need
22 to be looking at, as we go forward, which
23 categories of vehicles we've had successes in, in
24 terms of electricity and hydrogen.

25 For example, school buses, buses

1 generally, we have over five different
2 manufacturers of electric school buses in
3 California and we have tremendous availability of
4 this cleanest fuel option for buses. So, I think
5 we need to be looking at which categories of
6 vehicles we have success, now, in getting many
7 commercially available options that are in the
8 cleanest category and focusing our funding then
9 on those technologies. So, I think that's the
10 next step that we need to take in this118
11 process.

12 And I know ARB has started to do that
13 sort of thing in their investment planning effort
14 to look at some categories and say, okay, this
15 category we can dedicate the funding for electric
16 because that technology's available, readily
17 available.

18 So, I just wanted to toss those comments
19 out and that goes into the next section, also,
20 but thanks.

21 COMMISSIONER SCOTT: Okay, thanks.

22 Jan?

23 MS. SHARPLESS: This is natural gas
24 related and it's in the executive summary. And
25 it's on page 5. And I wondered, it's a comment

1 that was dropped into a paragraph that started
2 off with emerging technologies. And it
3 specifically states that, "Natural gas engines
4 and emission control technologies that achieve
5 the optimal low oxides of nitrogen emission
6 standards are now commercially available. And
7 when combined with biomethane fuel can reduce the
8 lifecycle emissions of medium- and heavy-duty
9 vehicles to the levels near or equal to those of
10 zero-emission vehicles."

11 So, my question is what is the Energy
12 Commission's thinking about putting this sentence
13 in, and is this something you're considering or
14 is this just something that you heard about and
15 lifted up as an example of an emerging
16 technology?

17 MR. ORENBERG: So, we are just providing
18 this as an example of an emerging technology or,
19 rather, the technologies that are already out
20 there. Biomethane is already out there as our
21 D8.9-liter low NOx natural gas vehicle engines.

22 When you combine both biomethane, fuel,
23 and low NOx natural gas engines, the lifecycle
24 emissions are about equal to that of an electric
25 vehicle that is recharged from the grid.

1 So, grid electricity, of course, is not
2 completely carbon free. We're at about 30
3 percent renewables right now. I don't have an
4 exact number off the top of my head.

5 But taking into account all the
6 electricity produced by natural gas and other
7 fossil sources, there are still carbon emissions
8 and other criteria air pollutant emissions from
9 using electricity.

10 MS. SHARPLESS: So, this isn't something
11 that you're pursuing?

12 MR. ORENBERG: Well, we are planning to
13 pursue this. In fact, in the Low-Carbon Fuel
14 Production and Supply Category, new for this year
15 we've added in a concept, Integrated Renewable
16 Natural Gas Production and Distribution
17 Facilities that may also include renewable -- I'm
18 sorry, low-NOx natural gas vehicles.

19 And the idea is to combine all of these
20 into one agreement to spur the use of low carbon
21 renewable natural gas and low-NOx natural gas
22 vehicles.

23 MS. SHARPLESS: Thank you.

24 COMMISSIONER SCOTT: Thomas, do you have
25 another comment or -- oh, it's left from before.

1 Okay. Did I miss anybody?

2 Bonnie, please go ahead.

3 MS. HOLMES-GEN: Thanks. I just wanted
4 to say that we really need to unpack the
5 statement about whether vehicles fueled by
6 biomethane are equivalent to vehicles that are
7 running on electricity. And I think there's more
8 information that needs to be looked at in
9 comparing these two.

10 I think it's -- anyway, I just wanted to
11 put that out there. I think that we need to take
12 a closer look at our long-term goal going to
13 2050, what we're trying to do. And where we can,
14 be focusing on those technologies that are going
15 to be sustainable over the long-term to 2050.
16 So, thanks.

17 COMMISSIONER SCOTT: Ralph?

18 MR. KNIGHT: I think there's just one
19 other thing I want to bring up, just for
20 informational purposes.

21 The nature of the beast of the yellow bus
22 does not make significant changes overnight.
23 They refuse to. I mean, like I say, when we
24 played with electric buses in '97 that burnt the
25 electric buses today, in the industry.

1 So, that's why I'm going from one end of
2 the State to the other to solicit the districts
3 to get involved with the electric buses.

4 So, the districts who got involved with
5 CNG, the ones we could convince to do that in
6 CNG, when it was early on, was a positive for all
7 of us at that time.

8 Now, to change them drastically to
9 electric buses is not going to be easy, will not
10 happen overnight, and it's going to take years
11 and years to convince the guys that are under me,
12 that since I've retired and got out of the
13 business, that there is another way to change.

14 And I guess the hard part is the
15 districts don't have the money to be able to do
16 that. So, somehow there's going to have to be
17 support to be able to take care of those school
18 buses.

19 And it was a big push at that time to get
20 rid of all of the pre-old buses to push everybody
21 to natural gas and they did that, and got new
22 buses for them to get newer model equipment, and
23 better equipment and safer equipment for the
24 kids.

25 So, to turn around and make that drastic

1 change again is not going to be an easy task by
2 any means at all. And there's going to be more
3 pushback than there's going to be wanting to go
4 forward.

5 But I think that, you know, we've turned
6 a corner. I think that electric vehicles are
7 very positive. We've got manufacturers out
8 there, now, like I say, in all the big
9 manufacturers from the large buses down to the
10 wheelchair buses that are electric driven to be
11 able to wine and dine these guys and get them to
12 start thinking about change. But it isn't going
13 to happen overnight.

14 COMMISSIONER SCOTT: Thank you.

15 Other comments from Advisory Committee
16 Members?

17 Okay, I have a blue card for Ryan
18 Schuchard. Okay, please come on up. And then
19 followed by Ryan Kenney.

20 MR. SCHUCHARD: Hello again.

21 COMMISSIONER SCOTT: Hello.

22 MR. SCHUCHARD: I think Thomas raised a
23 number of good points and questions in his
24 remarks. And, Commissioner, if you'd indulge me,
25 I just had a question.

1 COMMISSIONER SCOTT: Sure.

2 MR. SCHUCHARD: And it's for staff. And
3 I'm sorry if I'm putting Sarah in a spot. And
4 it's just my foggy memory. I have a small child
5 at home and I'm asking you to just refresh me and
6 us.

7 I think I remember early in the summer or
8 sometime during the summer that there was a wait
9 list, or the funds were out until they got
10 reupped again, and I'm maybe misremembering. But
11 isn't that the case? And if so, does that relate
12 to the current surplus of funds?

13 MR. FREEMAN: Yeah, so just to go back to
14 how the mechanism works. So, we give incentive
15 reservations to folks. We realize that it takes
16 a while to build the vehicles. They have about
17 180 days, plus a little bit of administrative
18 time to actually get the vehicle purchased,
19 utilize the incentive, get us the registration
20 and go back and kind of close out whatever money
21 went out the door.

22 For anybody who doesn't meet that
23 requirement, the money goes back into the funding
24 pot for the program. Previously, it was early on
25 in the summer, I think back around April or May,

1 we did have a wait list. We were able to address
2 that wait list through funding that had gone
3 unused through the original allocations of
4 reservations, plus some additional funding that
5 the Energy Commission had allocated to it.

6 As of today, there's about \$300,000
7 available for new incentive reservations to come
8 through. That changes on a regular basis and
9 we're closely watching that to determine whether
10 or not we need to put additional funds in. But
11 we will always have kind of those reservations
12 sitting out there that have gone unused to this
13 point.

14 And so, you know, going back to Thomas's
15 comment, we're looking really hard at that list
16 to see the specific date when those reservations
17 are going to expire, what the overall dollar
18 amount will be that will go back into the
19 program, and then we'll make additional funding
20 decisions based on that.

21 MR. SCHUCHARD: Great. Thanks very much.

22 COMMISSIONER SCOTT: Thank you.

23 Ryan Kenny?

24 And if you don't mind, if you will hand a
25 business card top our court reporter, who's doing

1 the transcript, that way she'll definitely get
2 your name spelled right.

3 MR. KENNY: Hi, good afternoon. I'm Ryan
4 Kenney with Clean Energy. We're the nation's
5 largest provider of natural gas, renewable
6 natural gas transportation fuel.

7 And I have just two quick points. I
8 appreciate the comments about the grid and EVs.
9 Our public policy work is usually tech-neutral.
10 We advocate for natural gas vehicles, but we
11 advocate for performance standards.

12 And I think with the conversation here
13 there is a double standard when it comes to EVs
14 on the fuel lifecycle. It's always about the
15 full lifecycle for natural gas, but it ends at
16 the tailpipe for EVs. And the grid is dirty.
17 And it does need to be part of the conversation
18 about the lifecycle of EVs, as well.

19 I also would like to ask Andre, and I
20 appreciate your comments about the various
21 comments with ARB. That's something that our
22 industry is very interested in as far as how the
23 puzzle pieces will come together with ARB and the
24 substantial amount of funding.

25 I was wondering if you could maybe just

1 talk about, a little bit more in detail, some
2 specifics, including how VW comes together.
3 That's kind of a wildcard at this point.

4 And I ask especially because ARB doesn't
5 seem to have really an idea at this point as far
6 as where to go. They're kind of taking public
7 comments in. They're not sure if they're going
8 to invest in current programs, go in a different
9 direction.

10 I wondered how the CEC is thinking about
11 VW money with natural gas vehicles? Thank you.

12 MR. FREEMAN: So, I think I can make a
13 real brief statement and then Commissioner Scott
14 has kind of our policy viewpoint on this.

15 But whether it's VW, Cap and Trade
16 funding, the other AB 118 funding that the Air
17 Resources Board currently allocates, Air District
18 funding, Federal funding pots, you know, EPA
19 funding for natural gas vehicles, you know, we
20 look at all of it like, you know, we're all going
21 towards the same goals, realistically. It's
22 finding cleaner vehicles where they're practical.

23 And, you know, depending upon how much
24 money comes out of whatever funding source it may
25 be, we will consider that and factor that into

1 our actual solicitations and this Investment Plan
2 to really find where the greatest needs for
3 funding different areas is.

4 COMMISSIONER SCOTT: That's fine. I have
5 nothing to add to that.

6 (Laughter)

7 COMMISSIONER SCOTT: Thank you, Andre.

8 Eileen?

9 MS. TUTT: Just quickly want to respond
10 to Ryan. I don't think you meant to say that the
11 grid is dirty. But I would suggest that the grid
12 is actually not a 'tall dirty. And even, we want
13 to keep in mind that the 33 percent RPS, which
14 has now been increased to 50 percent, doesn't
15 account for all the zero carbon that is hydro,
16 and other zero carbon that doesn't count towards
17 the RPS.

18 We have one of the cleanest grids in the
19 country and we're going to pure zero.

20 So, zero-emission vehicles, the nice
21 thing about battery-electric and the same thing
22 is true of fuel cell vehicles is they actually
23 get cleaner as they age.

24 Whereas an internal combustion engine
25 vehicle, just because of the nature of an engine

1 deteriorates as it ages.

2 So, I just want to clarify that I would
3 not characterize the California grid as dirty.
4 And I would suggest that not only is it not
5 dirty, but it's getting cleaner at a very rapid
6 rate over the next 10, even 15 years as a result
7 of the great State policies that people like the
8 Energy Commission adopt.

9 COMMISSIONER SCOTT: Jan, go ahead.

10 MS. SHARPLESS: I'm not going to disagree
11 that the California system is not dirty, but we
12 are an integrated system. So, we are part of the
13 Western Intertie which includes nine states,
14 Canada, and Mexico.

15 And the grid is moving toward a market-
16 based standard where we are going to increase the
17 efficiency and cost effectiveness of the entire
18 grid by allowing buys and sells on short outside
19 of California.

20 And we get our fuel -- or, we get our
21 electricity outside of California, anyway, since
22 we're integrated.

23 But every other state is also adopting
24 clean portfolios. They're not quite at the level
25 of California. And if the California Independent

1 System Operator gets -- if the people pass the
2 law that I guess was in the Legislature that
3 would allow Cal-ISO to operate beyond the
4 boundaries of California, we'll see what impact
5 that has on the system.

6 But we are an integrated system and we do
7 receive our electricity from more than just what
8 we produce. So, but we are getting cleaner. So,
9 to that respect I agree with Eileen.

10 COMMISSIONER SCOTT: Yeah, this is a very
11 interesting topic that we could probably spend a
12 whole day on and, in fact, we have in some of our
13 Integrated Energy Policy Report workshops. It's
14 one of the great things about working at the
15 Energy Commission, actually, is we have the
16 ability to take all of this transportation
17 information that we have and put it into that
18 broader context. And we do that quite frequently
19 through our IEPR process.

20 But I'm going to ask that we don't keep
21 going down that path just because I want to make
22 sure we have a chance to get to the rest of the
23 Investment Plan.

24 But let me check to see whether we had --
25 I did the comments in the room on natural gas.

1 Did we have comments on the WebEx on -- no, okay.

2 So, let's turn, then, to Advanced Freight
3 and Fleet Technologies and Sam.

4 MR. LERMAN: All right, so good
5 afternoon. My name is Sam Lerman and I'm an Air
6 Resources Engineer in the Medium- and Heavy-Duty
7 Vehicle Technology Unit.

8 So, I'll be speaking briefly today on
9 recent investments in advanced freight and fleet
10 technologies.

11 Here's an overview of the total
12 investments to date for medium- and heavy-duty
13 vehicle demonstrations. The Energy Commission
14 has invested over \$130 million for the
15 development and demonstration of advanced
16 technology Class 3 through 8 vehicles.

17 Vehicle types include work trucks,
18 delivery vans, buses and Class 8 trucks.

19 While these vehicles represent only 3
20 percent of the total population of vehicles
21 operating on California roadways, they make up 23
22 percent of on-road GHG emissions in the State.

23 With the growing awareness of the
24 economic and environmental challenges facing
25 California seaports, the California Energy

1 Commission initiated the Ports Energy
2 Collaborative in March of 2015. This
3 Collaborative provides a forum for the Commission
4 and the ports to come together to discuss
5 important energy issues, mutual challenges, and
6 opportunities for transitioning to alternative
7 and renewable energy technologies.

8 Recognizing the diversity among ports,
9 the Ports Energy Collaborative provides the
10 opportunity to identify and implement energy
11 solutions that will meet the needs of the ports,
12 while helping attain California's climate and
13 clean air goals.

14 The Ports Collaborative works on key
15 projects in areas including, but not limited to,
16 energy conservation and efficiency measures,
17 renewable generation, and zero and near-zero-
18 emission vehicles and equipment.

19 This Collaborative has helped advise
20 recent CEC solicitations on vehicle
21 demonstrations which have focused on the
22 deployment of advanced vehicle technologies at
23 California seaports.

24 The Energy Commission released GFO-16-604
25 in November of last year, awarding over \$24

1 million for three projects. This solicitation
2 focused on demonstrating technologies involved in
3 freight movement at California seaports.

4 The projects are developing 55 advanced
5 vehicle demonstrations across multiple
6 applications, including yard trucks, drayage
7 trucks and forklifts.

8 These vehicles represent several
9 technology types, including ultra-low NOx natural
10 gas, plug-in hybrid and full battery-electric
11 vehicles.

12 The projects will result in the direct
13 reduction of over 3,900 metric tons of carbon
14 dioxide equivalents, 22 tons of NOx, and 0.4 tons
15 of PM10 over the terms of the project.

16 The next funding opportunity in this area
17 is expected to release later this year, including
18 an expected \$22 million with a focus on electric,
19 hydrogen, and intelligent transportation system
20 infrastructure deployment for advanced technology
21 freight vehicles.

22 Here's a breakdown of the winning awards
23 under GFO-16-604 demonstrating technologies at
24 the Ports of Los Angeles and Long Beach. These
25 projects represent strong partnerships with

1 multiple technology vendors and several fleet
2 demonstrators.

3 These projects are also providing
4 significant benefits to disadvantaged communities
5 in and around the ports.

6 The Port of Los Angeles Project is
7 directly built off prior CNC investments, while
8 the Port of Long Beach represents a new
9 partnership with the Energy Commission.

10 This slide shows some technologies that
11 will be demonstrated at port communities as part
12 of Energy Commission investments.

13 Shown here are zero-emission solutions
14 for drayage truck, reach stacker, and yard
15 tractor applications, as well as a low NOx
16 natural gas engine which will be demonstrated at
17 the Port of Los Angeles.

18 The far right picture shows an existing
19 rubber-tired Gantry crane at the Port of Long
20 Beach. This crane will be retrofitted to all-
21 electric grid operation as part of the recently-
22 awarded Long Beach Project.

23 And that concludes my presentation.

24 COMMISSIONER SCOTT: Thank you.

25 Comments from the Advisory Committee?

1 Eileen?

2 MS. TUTT: Thank you, Commissioner.

3 Eileen Tutt with the California Electric
4 Transportation Coalition. I do want to suggest
5 that this particular pot of money is actually
6 much too low. It's about the same -- well, it is
7 the same allocation as last year, I believe. And
8 we're merging natural gas vehicles into it.

9 And the need in this particular segment
10 is massive. So, I think at the top of this
11 meeting there was a discussion of funding that's
12 already going in the report, there's funding
13 already allocated to this from other pots of
14 money.

15 But let me just suggest that the
16 opportunities here are huge. And although this
17 last, it looks like this last set of investments
18 was focused on ports and I think that's
19 important.

20 I would also suggest that it's really
21 important to get to the valley and look at last-
22 mile delivery because there's so many
23 opportunities with things, even like just laundry
24 trucks. There's all kinds of opportunities in
25 the San Joaquin Valley and I know in other -- I

1 South Coast AQMD.

2 And just as importantly, our rural
3 communities are feeling pretty neglected as the
4 State's investments have rolled out. And this
5 pot of money, and specifically, could really
6 benefit rural communities, especially in the bus
7 and school bus areas, but perhaps even in last-
8 mile delivery. There's all kinds of ways that we
9 could get some of this money into some more rural
10 communities. Which at least for me, in my world,
11 I'm feeling the pressure.

12 You know, there's all the State
13 investments and so little is going to these rural
14 communities that are often disadvantaged and
15 impoverished.

16 So, I would suggest that this is one area
17 where we just need more funding. And I know you
18 hate it when people ask and don't suggest where
19 it should come from, but I'm just going to --

20 (Laughter)

21 MS. TUTT: I'm just going to say that I
22 would not -- maybe I would like the report to be
23 amended sort of not to suggest that there's
24 sufficient funding because other pots of money
25 are funding this, because that's just not. The

1 need is massive and the opportunities are huge
2 here.

3 So, maybe we could look at that as the
4 amendment that I would like, if I can't get more
5 money. Thank you.

6 COMMISSIONER SCOTT: Thank you. I think
7 that --

8 MS. TUTT: Oh, one more thing. So, I
9 also want to suggest that the report also talks
10 about the SB 350 filings. I'm just going to tell
11 you that they have not been approved, yet. The
12 priority filings, which were supposed to be
13 approved in September, and still aren't approved,
14 and we're being told maybe will be approved in
15 December. I'm not sure if that's '17 or '18.
16 But we don't have any money, yet, so through SB
17 350.

18 And so, I feel like that's another place
19 I'd like to change in the report. I mean, that
20 money should have been approved by now and it's
21 not. And there's a lot of reasons for that. I'm
22 not beating up on the agency that is overseeing
23 those projects, but they should be. We don't
24 have the money. I don't know when those
25 applications are going to be approved. And we

1 don't want to reference it as if, well, that
2 money's already approved because it's not. And
3 it's taking much longer, even though there's no
4 opposition and these were supposed to be priority
5 projects. And SB 350 directed their
6 consideration and approval by now.

7 COMMISSIONER SCOTT: I think those are
8 great points. I wanted to address the one that
9 you made about -- I do hope we didn't imply that
10 there is enough money in this space, because we
11 don't think there's enough money in this space,
12 either. So, we should certainly go back and look
13 at the language there.

14 We recognize that medium-duty, heavy-
15 duty, especially on the clean air side is just
16 like -- I'm picturing the South Coast Air Quality
17 Management District. You've probably seen Matt
18 Miyasato do his presentation with a beaker. We
19 know that there's a lot of need there. And
20 that's actually why we wanted to keep a little
21 bit of money there, even though there's a couple
22 hundred million in the Air Resources Board
23 Programs, out of Cap and Trade. WE think that
24 the need is so great that it makes sense for us
25 to continue to invest in this space. So, we'll

1 make sure that the language reflects that and
2 also that it is current as of what's going on
3 when we get that next, updated version out,
4 whether the PUC filings have been approved, or
5 whether they're still pending. We'll make sure
6 that that language is current. We can definitely
7 do that, yes.

8 John and then Joel.

9 MR. SHEARS: Just wanted to say here,
10 here to Eileen's observations and comments. And
11 also, just highlight that more and more of the
12 freight processing is going to be moving into the
13 valley. Right now, there's the huge IKEA
14 distribution center. And, you know, the
15 expectation is there will be more.

16 So, we need to find as many opportunities
17 as possible to reduce the emissions' footprint of
18 those facilities in whatever local, or regional
19 delivery activity is happening out of those
20 facilities.

21 And, yeah, I would expect February,
22 March, if we're lucky on the SB 350 plans. But
23 just wanted to back Eileen up on the request to
24 support the more rural regions.

25 And if Flynn D'Orata (phonetic) is still

1 listening in from Kern, just wanted to also
2 highlight that when we were really meeting and
3 pushing VW Electrify America, we were actually
4 speaking and pushing for the whole valley. So,
5 we weren't just asking for Fresno County.

6 You know, so we at least got Fresno
7 County and we'll use that as a building block and
8 make sure that we keep pressing to have them
9 expand their scope to look at the rest of the
10 valley, as well.

11 COMMISSIONER SCOTT: Thank you. Joel and
12 then Thomas.

13 MR. ESPINO: Actually, I think Thomas is
14 first, if you want to go.

15 MR. LAWSON: I'll go later.

16 MR. ESPINO: Okay. Yeah, I would also
17 echo comments made around this not being enough.
18 I think when you put an environmental justice
19 lens on the need, you know, it's long overdue
20 from the impacts of heavy-duty vehicles in this
21 communities.

22 And I think -- you know, I think I
23 advocate at the CPUC and the ARB, and in this
24 space as well, and we have been seeing an influx
25 of money around transportation electrification

1 and it's great. And I feel like a lot of times
2 there's this tendency to want to say we should
3 complement, right, all these different funds.
4 But I would actually say that it's okay if some
5 of these are additive because of the fact that
6 there's so much need, in particular around
7 environmental justice communities.

8 And so, I would encourage really
9 deploying the heavy-duty electric vehicles in
10 disadvantaged communities to ensure that we're
11 reducing those impacts that go back decades and
12 decades, right, from the unequal built
13 environment that we have.

14 And I think another, I guess a suggestion
15 I would make and I'm going to provide more
16 comments on this and more details around this
17 concept. But something that I've been
18 socializing in partnership with Union of
19 Concerned Scientists, and Clean Energy Works
20 which, you know, some of you might be familiar
21 with, is this idea of a tariff on-bill financing
22 model for electric transit bus procurement.

23 And that's something that we've
24 introduced into the proceedings at the CPUC. And
25 I think the Energy Commission actually adopted

1 this concept through the SB 350 transportation
2 studies. And it's something that we're
3 socializing with ARB, as well.

4 And basically, what it is, is that a lot
5 of the pushback that you hear from transit
6 agencies is the fact that the way that their
7 accounting works they can only take on so much
8 debt, right? And so, it's hard to procure large
9 quantities of buses and put that on their books.

10 And so, this is essentially a solution to
11 accelerate their procurement and allow for larger
12 amounts of procurement of electric buses and use
13 the utility on-bill financing mechanism to
14 finance the buyback of that vehicle. And
15 actually used, you know, assuming that we get our
16 rate structures in order, but use the cost
17 savings to pay back that loan or, essentially,
18 that money over years.

19 I can provide more details. I'm still
20 kind of learning the concept myself, to honest,
21 but I can provide more detail through comment on
22 that innovative approach to financing. I think
23 that's always a barrier that we face with clean
24 energy technologies, the high up-front costs.
25 And this is a really innovative way to really

1 accelerate deployment and I'm happy to provide
2 more comments around that.

3 COMMISSIONER SCOTT: Yes, please do.
4 Thomas and then Ralph.

5 MR. LAWSON: Thomas Lawson. I probably
6 missed this conversation earlier because I was a
7 little bit late this morning, but on page 21 of
8 the plan it kind of goes down and lists the
9 recent and current investment. And there's this
10 category of Unencumbered Funds.

11 And to Eileen's point about, you know,
12 adding a new ability for low NOx in this
13 particular category, did you guys have a
14 discussion about how these columns interact? The
15 proposed versus unencumbered? Because it says
16 17.5 this year, but 22.3 in this particular
17 category is unencumbered.

18 So, is that in addition to the 17? Just
19 a little explanation would be helpful and that
20 may, I think, address all of our collective
21 concerns about it not being enough.

22 MR. ORENBERG: Sure. Yeah, thanks
23 Thomas. And it is a fairly confusing subject
24 here, so let me try and explain what's going on
25 in this table.

1 The '18-'19 proposed funding, of course,
2 is what we're discussing today in this Investment
3 Plan and those may change.

4 And then, the unencumbered funds, that's
5 the amount of funding from both fiscal year '16-
6 '17 and '17-'18, so that is approved funding.
7 It's funding we have to spend right now, but it
8 has not yet been encumbered is the word we use.
9 So, it's not been encumbered or dedicated to a
10 specific grant agreement or contract agreement,
11 yet. So, that is money that's available to be
12 spent on future projects.

13 Does that adequately explain it?

14 MR. LAWSON: Yeah, I think so. So, then
15 as of today we're proposing 17.5 for this
16 category for '18-'19. But if and when that 17.5
17 is used and there's a waiting list, then you can
18 use the 22.3?

19 MR. ORENBERG: Actually, we would use the
20 22.3 before we use that 17.5 that's being
21 proposed today.

22 MR. LAWSON: Oh, okay.

23 MR. ORENBERG: So, the 22.3 is from
24 previous fiscal years. We would use the funding
25 from '16-'17 first, then the funding from '17-

1 '18. And once all of that is depleted, we would
2 move on to the '18-'19 funding.

3 MR. LAWSON: Okay, that's helpful. Thank
4 you. And just to clarify, by contracts you mean
5 also future solicitations?

6 MR. ORENBERG: Right. All of the --
7 well, all of the grants go through funding
8 solicitations and that's how they're awarded.

9 COMMISSIONER SCOTT: Ralph and then
10 Bonnie?

11 MR. KNIGHT: I guess I would agree with
12 most of the comments that are going around about
13 this particular item. I think that the medium-
14 and heavy-duty both fit into the school bus
15 world, in both the special needs and the large
16 buses out there.

17 And I think that we have been working the
18 last two years and more between the local
19 districts here in California, and other states,
20 and the manufacturers as a consultant of what the
21 manufacturers need to come up with as far as an
22 electric bus is concerned that will fit the
23 schools' needs, and what will work for the
24 schools.

25 And so, it's been an interesting go

1 around to work on both ends of the spectrum there
2 to try to figure out what we can do with a bus.

3 I think we now have some great choices in
4 vehicles. And I think we have all of the major
5 players into it, now. So, we're seeing some good
6 quality equipment out there. So, I guess that to
7 get the districts to get involved is going to
8 take the funding to do that.

9 There are some other sources out there
10 that the districts can go after for funding to do
11 that. But again, an electric vehicle's a heck of
12 a lot more expensive than what a natural gas
13 vehicle is and we all know that.

14 But we know what the difference is
15 between the two vehicles. And I think that we
16 want to try to convince the districts to look at
17 them, try them, work with them. And I think that
18 they'll find that what we have now today, in that
19 world, in that industry is going to work and
20 going to do a good job out there. And I think
21 that's where we need to be.

22 COMMISSIONER SCOTT: Thank you.

23 Bonnie and then Joel.

24 MS. HOLMES-GEN: Yeah, I just wanted to
25 also thank the Energy Commission staff for,

1 again, and Commissioner Scott for again putting
2 this forward as an important category. It's
3 critical for local air quality. It's critical
4 for disadvantaged communities. In terms of the
5 medium-/heavy-duty sources, it's becoming a
6 growing GHG -- I mean, the need to reduce GHGs is
7 growing as we control other sectors. So, it's
8 very important that we focus money on this
9 category of projects. In spite of all the other
10 funding that's out there, we need to do more.

11 So, I know that this category has grown
12 over the last couple of reports and definitely
13 would love to see this category grow in the next
14 -- in this year, also.

15 I do think that there should be a look at
16 some specific categories of vehicles within this
17 heavy-duty sector, and looking at those
18 categories where electrification has dramatically
19 progressed, and where there are a large number of
20 manufacturers now producing those vehicles, and
21 many choices, and that we may want to take a look
22 at focusing the attention in the solicitations on
23 those, the cleanest vehicles that are available.

24 And then, I also wanted to -- on the
25 school buses, we all so -- we so much want to see

1 the turnover of all the school buses to the
2 cleanest possible buses. And the different
3 funding pots, there's been different levels of
4 review as to how much progress have we made and
5 what do we need to do, what's left?

6 And I think it would be really helpful if
7 the Energy Commission could work together with
8 the Air Board and put together kind of an
9 overview of where we are at, what the pots of
10 funding are that are available, and how we could
11 finally get up to date on upgrading and replacing
12 all these school buses so that kids aren't having
13 to deal with the older, dirty diesel buses in
14 their everyday commutes.

15 So, I know that the Air Board had a
16 report to the Air Board on school bus
17 expenditures, I think back in March. I'm not
18 sure who else is kind of keeping track of all of
19 these things, among all the agencies, but I think
20 there's just been a lot of discussion about this.
21 And it would be really helpful to just have a
22 quick overview of where we're at, what pots of
23 money are left, what it would take to complete
24 the upgrade and replacement of these buses.

25 So, just wanted to emphasize that point.

1 Thank you.

2 COMMISSIONER SCOTT: Thank you.

3 Do I have any other comments from
4 Committee Members?

5 Okay, I do have some members of the
6 public, starting with Ryan Schuchard. And then,
7 Jon McCuen.

8 MR. SCHUCHARD: Hello again. I think
9 this is the last time you'll hear from me because
10 I have to run after this. So, thanks for a great
11 Discussion today.

12 And I mentioned our interest in this
13 topic, in particular, earlier today. And I think
14 the staff did a good job of explaining that
15 medium- and heavy-duty vehicles are such a
16 concentrated portion of our GHG.

17 There's been some discussion, I
18 appreciate Bonnie and Joel raising the
19 disadvantaged community air quality issues.

20 You know, in the light-duty electric
21 vehicle section we heard about the Bay Area's
22 doing really well, in a sense. It's a place of
23 progress.

24 But if you look at diesel particulate
25 matter, you find the Bay Area is the source -- if

1 you take the worst 5 percent diesel particulate
2 matter, in terms of extent, we're over half of
3 where the census tracts are located. And you can
4 find over 100 schools, just looking at Google
5 Maps, within 1,000 or 1,500 feet in the East Bay
6 of California.

7 This is a major and not completely, I
8 suppose, appreciate issue, the diesel particulate
9 matter that we really have to ramp up our efforts
10 on.

11 So, with all that in mind, this sector,
12 the medium- and heavy-duty side, versus light-
13 duty, has a lot of distinct issues compared to
14 cars, particularly around demand charges and how
15 fleets can stack on a lot of trucks and buses
16 together, and do so economically.

17 The current Public Utilities Commission
18 proceeding, SB 350, is really focused on the
19 system level distribution upgrades. And there's
20 a temporary proposal by SCE -- I shouldn't say
21 temporary. It's a first generation of a proposal
22 for a demand charge solution. I think we'll see
23 something similar to PG&E.

24 But there's really an outstanding need
25 for both a demand charge solution on the

1 technology, kind of like software side, but also
2 on EVSC. And it's a really outstanding need.

3 And our view is the Energy Commission is
4 in a great position to great kind of a corollary
5 to the CALeVIP or the block grant for medium- and
6 heavy-duty. And that's basically our suggestion
7 that is that you consider developing a similar
8 solicitation.

9 Thanks very much.

10 COMMISSIONER SCOTT: Thank you.

11 John McCuen.

12 MR. MCCUEN: Hello everyone. Hi,
13 Commissioner Scott. Thanks for giving me the
14 opportunity to speak to the Committee Members.
15 I'm John McCuen and I work for the United States
16 Environmental Protection Agency.

17 I'm here to talk to you about a related
18 effort that we're launching under our West Coast
19 Collaborative Clean Diesel Program.

20 We're currently embarking on a new
21 project focused on alternative fuel
22 infrastructure planning for medium- and heavy-
23 duty vehicles in Washington, Oregon and
24 California. So, to cover the Western Seaboard of
25 the Continental United States.

1 Focusing on four fuel types, including EV
2 charging, hydrogen fueling, propane, and natural
3 gas for heavy-duty vehicles.

4 We're attempting to dovetail with the
5 Federal Highway Administration's current
6 Alternative Fuel Quarter Designation Process, for
7 which there's an open solicitation right now.

8 Caltrans, in partnership with several
9 other State agencies, submitted a round one
10 proposal last year. This is the second round of
11 that program for Federal highways, as directed
12 under Section 1413 of the Fixing America's
13 Surface Transportation Act, or current Federal
14 Surface Transportation Bill.

15 EPA's hope through this project is to
16 work with our State and Local partners in the
17 three West Coast States to identify needs and
18 desired projects that go beyond the types that
19 were going to be funded here at the CEC and by
20 other State and Local funds in California to see
21 how we can build out the infrastructure that will
22 allow fleets to go from high-emitting, legacy
23 diesel vehicles to low- and zero-emitting modern,
24 medium- and heavy-duty technologies.

25 Including, R&G with low NOx engines for

1 natural gas, renewable propane using low NOx
2 engines. Zero-emission vehicle technology for
3 hydrogen, as well as for plug-in electric in a
4 variety of different applications.

5 In freight, primarily, but also for
6 people transportation, transit bus, public works,
7 refuse collection, county and municipal fleets,
8 and then other private sectors applications.

9 So, we're looking to folks like
10 yourselves to help us identify where the
11 opportunities lie for project development here in
12 California.

13 I'll be meeting with a number of you,
14 individually, over the coming months as we get
15 this project underway. But I wanted to take this
16 opportunity, given that you're all together here,
17 in one room, to come here and let you know that
18 the project's happening.

19 We're interested in partnering with the
20 CEC, as we have been at our Steering Committee
21 level to date to develop our initial work plan
22 document.

23 But we're going to be engaging a number
24 of other stakeholders in California, as well as
25 the two other West Coast States to help inform

1 the development of this effort.

2 Ultimately, we're hoping to develop a
3 plan that's a deliverable by the end of next
4 year, so that our State partners at the DOT level
5 can coordinate for fund-raising and grant-seeking
6 with USDOT to hopefully be able to secure
7 additional funding assistance, besides State and
8 Local funding, to help actually deliver some of
9 these projects, and actually get some steel on
10 the ground and reduce emissions as a result.

11 So, the CEC staff has my contact
12 information. If you have any questions, feel
13 free to reach out to me. Again, thank you for
14 your time and attention.

15 COMMISSIONER SCOTT: Thank you so much,
16 John, for being here and for raising your
17 important program to our attention. I really
18 appreciate that.

19 I want to make sure that folks do know,
20 John, will you be here through the end of the
21 meeting?

22 MR. MCCUEN: Yes, I'll be here for about
23 45 minutes.

24 COMMISSIONER SCOTT: Okay, so he'll be
25 here for about 45 minutes more. And it would be

1 great for you to connect with him and to learn
2 more about the program.

3 And thank you so much for taking the time
4 to come and talk with us about that today. I
5 really appreciate it.

6 Let me see, we've got one comment on the
7 WebEx, from Marie (phonetic).

8 MARIE: Hi, can you hear me right now?

9 COMMISSIONER SCOTT: Yes. Hi, Marie.

10 MARIE: Hello. I just wanted to first of
11 all thank staff for the work that they're putting
12 into this program.

13 And I wanted to just kind of point out
14 that in last year's funding for the Advanced
15 Freight and Fleet Technologies Pool, you'll
16 notice that there's three really large ports that
17 basically all of the applicants had to partner
18 with prior to being able to work within this
19 funding pool.

20 And I think that's a barrier to entry
21 because the ports do have a lot of administrative
22 layers. And getting in with the right people at
23 the right time is a barrier to access.

24 And this is one of the few pools of
25 funding that has been used for R&D. And so,

1 having additional barriers that are business
2 related, as opposed to engineering related, I
3 think are a little premature. Especially given
4 that the success of the ARFVTP can often be seen
5 in how many of the technologies it has seeded
6 that have gone on to be eligible for CARB funding
7 when they're in their commercial maturity.

8 And so, if there's a way to focus the
9 funding pools on the actual grants coming out of
10 this program, in the coming fiscal year, to allow
11 for more R&D on those technological barriers, as
12 opposed to demonstration, I think it would go
13 farther in supporting the beachhead approach,
14 which is already lined up in the CARB Investment
15 Plan and in the ZEV Action Plan.

16 Because things like making higher power
17 motors, better battery packaging, higher power
18 inverters, better integration and efficiency,
19 those are all barriers to technology transfer
20 that otherwise won't allow those other medium-
21 and heavy-duty developments to transfer into
22 those great sectors.

23 And think that that R&D would go
24 significantly farther.

25 But also, I think that the Energy

1 Commission's very admirable focus on how do we
2 increase the diversity of applicants is harmed
3 when figuring out the team in advance to align
4 with the port is a barrier to entry, to begin
5 with.

6 So, that's all I've got today and wanted
7 to just thank staff, as well. It was a job on
8 this plan.

9 COMMISSIONER SCOTT: Thank you very much.

10 Do we have any other folks on the WebEx?

11 Okay, I'm seeing no.

12 So, let us now turn to Manufacturing and
13 that will be Larry Rillera.

14 MR. RILLERA: Good afternoon, everybody.

15 I'm Larry Rillera and I will be addressing

16 Manufacturing in our Investment Plan.

17 The Manufacturing Section of the
18 Investment Plan addresses the State's
19 environmental and economic goals by supporting
20 companies that manufacture advanced technology
21 vehicles and vehicle components in the State.

22 The array of companies in our
23 manufacturing portfolio produce technologies
24 ranging from power trains for zero-emission
25 school buses, complete battery-electric transit

1 buses, to two-wheeled battery-electric
2 motorcycles, to electric vehicle charging
3 equipment.

4 Manufacturing these technologies is an
5 expensive venture. Energy Commission funding can
6 be a critical element to these projects as
7 companies leverage ARFVTP funds for larger
8 investments.

9 There are 21 manufacturing projects
10 funded with investments greater than \$46 million,
11 as noted.

12 The projects can be divided into the
13 categories with the largest area of investment in
14 electric trucks and buses.

15 Staff is active in meeting with companies
16 that manufacture these advanced technologies.
17 Additionally, staff engages with suppliers, as
18 well. These meetings help staff to better
19 understand how companies can develop products for
20 sale that respond to California's Clean
21 Transportation and Economic Development Goals.

22 Two examples of projects in our portfolio
23 include a manufacturer of vertically integrated
24 battery-electric bus and a manufacturer of
25 electric vehicle chargers.

1 Proterra was founded in 2004. They sold
2 their first three buses in 2009, to Foothill
3 Transit in Pomona, California. In 2015, they
4 established their Silicon Valley headquarters in
5 Burlingame, California.

6 In 2016, they established their West
7 Coast manufacturing facility in the City of
8 Industry, with our Energy Commission funding.

9 Today, Proterra continues to attract
10 significant investment, while experiencing
11 tremendous goals in sales and workforce expansion
12 in North America and in European markets.

13 ChargePoint manufactures EV chargers in
14 Campbell, California. Products not only include
15 light-duty charging, but also include fast
16 charging for medium-duty vehicles.

17 They have recently expanded their
18 manufacturing facilities and continue to attract
19 significant investment and are experiencing
20 growth abroad.

21 Recipients of our transportation funding,
22 manufacturing funding, also seek other available
23 State incentives. These incentives are important
24 to advance technology companies as they gain
25 traction with consumers.

1 The column on the right shows the
2 percentage of ARFVTP manufacturing awardees that
3 also participate in these State programs.

4 To summarize, roughly a quarter of the
5 awardees seek tax exclusion for qualified
6 manufacturing equipment through CAEATFA or the
7 California Alternative Energy and Advanced
8 Transportation Authority in the State Treasurer's
9 Office.

10 One quarter of the awardees manufacture
11 eligible technologies under CVRP, the California
12 Vehicle Rebate Project, and HVIP that help reduce
13 the up-front costs for the purchase of these
14 technologies.

15 One quarter of the awardees have received
16 workforce support in the form of tax credits or
17 through direct funding, as was mentioned earlier
18 through the Employment Training Panel.

19 The balance of the companies have not
20 sought other incentive funding.

21 Through ARFVTP manufacturing investments,
22 over 500 California manufacturing jobs have been
23 created or retained. The manufacturing workforce
24 is critical to the advanced technology vehicle
25 market in California, as production volumes are

1 still growing and require considerable skilled
2 labor.

3 Growth in zero-emission bus markets
4 through Federal and State funding will place a
5 high emphasis on a trained workforce capable of
6 producing, manufacturing, and servicing these
7 vehicles.

8 For the fiscal year '18-'19 Investment
9 Plan, it is proposed an allocation of \$5 million.
10 Thank you.

11 COMMISSIONER SCOTT: Thank you, Larry.

12 Comments from the Advisory Committee
13 Members? Oh, John. Yes, please. And then
14 Tyson.

15 MR. SHEARS: Yeah. So, thanks for the
16 presentation. And I see that, so, 20 percent --
17 if I understand your presentation correctly, 20
18 percent of those projects that get funded under
19 the manufacturing program have also sought out
20 funding for training. Is that correct?

21 MR. LERMAN: Let me orient the question,
22 if I could, John. And that is to slide on the
23 manufacturing in context, and you're talking
24 about the workforce development 20 percent or --

25 MR. SHEARS: Correct.

1 MR. LERMAN: And so, those are ARFVTP
2 manufacturing projects that have sought funding
3 either through the California Competes Tax Credit
4 or through Employment Training Panel Funding
5 Program.

6 MR. SHEARS: Right. Because before I saw
7 the table, the question I had in mind was, you
8 know, especially since Peter had sort of
9 highlighted for us how much, you know, funding
10 had gone to help with manufacturing, training in
11 the manufacturing sector. What kind of outreach
12 or communication is sort of happening around, you
13 know, the workforce training on conjunction with
14 other sort of related, you know, sort of what
15 would on the surface look like obviously related
16 kinds of funding tranches, like manufacturing?

17 So, is there a lot of extensive outreach
18 and messaging that goes, oh, by the way, at the
19 same time you might want to also look at this
20 other opportunity over here? So, I was just
21 curious.

22 MR. RILLERA: I think I'll start in
23 response, John, one of them is that the agencies
24 that provide the funding do a considerable amount
25 of outreach. That transparency that they do,

1 that we have through venues like today on the
2 Investment Plan, as well as our public workshop
3 outreach help the companies to take advantage of
4 those incentives.

5 GoBiz, as an example, through their
6 California Competes provides not just the direct
7 in-the-room outreach, but they also conduct
8 webinars for their funding.

9 It is critical to these companies to
10 leverage and know their labor and their workforce
11 within their backyards as they grow their
12 companies and their technologies or they will
13 come in to some competition for that same labor
14 and skilled workforce, if you will, within their
15 own backyards.

16 MR. KATO: Let me just add here, a few
17 things here. So, I think the critical difference
18 of how we did business before we approached these
19 two categories is that moving forward from this
20 point forward we're being a little more robust
21 with doing our homework and reaching out more
22 specifically to stakeholders who would really
23 benefit from our investment.

24 So, we're doing a little more outreach,
25 more hands on, more of a personal dialogue. And

1 that includes the city colleges, that includes
2 the surrounding community. So, we're doing a
3 little more robust homework, first, and then
4 we'll begin our workshop. Kind of revealing, so
5 this is what we've found to solicit more input
6 before we kind of formulate more specific
7 solicitations.

8 So, these two categories, workforce and
9 manufacturing require a little bit more of a
10 nuanced of research and engagement than the other
11 categories. So, there's more special attention
12 being applied.

13 So, I think hitting that point too much
14 is we're doing our homework.

15 MR. SHEARS: Okay, good. Yeah, I just
16 wanted to -- because it's sort of like an area I
17 think that, or at least I've been guilty of maybe
18 not looking at or thinking about deeply enough.
19 So, was just curious as to -- because it seems
20 like it's something that's really starting to
21 blossom and so, really, that extra cultivation.
22 So, it seems like we're simpatico on that, so
23 great.

24 COMMISSIONER SCOTT: Tyson.

25 MR. ECKERLE: And just to build on that,

1 I think from the GoBiz perspective we leverage a
2 lot of this. This is a really important category
3 to help bring manufacturing into the State. You
4 know, we have a lot of the policies that help
5 grow this market and we should benefit from the
6 economic development perspective.

7 So, John, I think to your point and to
8 Bonnie's point earlier, you know, again, if
9 you're coming into people who are not aware of
10 these types of things, like GoBiz can be the
11 start point at least for a lot of these
12 businesses who are looking to expand in
13 California or start a business. And then we can
14 -- we work closely with the Energy Commission
15 staff to help coordinate and make sure that
16 they're exposed to all the different incentives
17 we have and pull together a nice package for it.

18 So, this is a really important thing and
19 we appreciate working with the Energy Commission
20 on it.

21 COMMISSIONER SCOTT: Thank you. We
22 appreciate the partnership, as well.

23 Joel?

24 MR. ESPINO: Yeah. Thanks, Larry, for
25 that presentation. Just wanted to reemphasize

1 some of the points I've made throughout the day
2 around this idea of, yeah, really trying to
3 figure out if there's a way that we can have some
4 high road agreements. Basically, the industry is
5 used to essentially identify economic development
6 opportunity that, you know, prioritizes hiring
7 folks with barriers to employment, and that they
8 are provided, you know, family-supporting wages.
9 You know, those things I've mentioned throughout
10 the day.

11 And I think it's really important that as
12 we develop this new sector in California that
13 we're doing it in a way that is economically
14 just.

15 And I think one thing that I have failed
16 to mention throughout the day, too, is part of
17 that high road sort of strategy is also ensuring
18 that we're thinking about the suppliers that the
19 manufacturer uses, right. So, to the extent that
20 we can diversify and have a more inclusive
21 procurement process for the goods and services
22 that that particular company might need that
23 we're encouraging hiring small, minority-owned,
24 women-owned businesses for these kinds of things
25 I think is also important.

1 And, obviously, the California Public
2 Utilities Commission has been a leader in
3 ensuring that the utilities really consider this
4 idea of supply diversity. And I think that that
5 kind of thinking should kind of be translated
6 into the solicitations that the Energy Commission
7 provides. And making sure that as we set these
8 up, if there's a way to really hone in on those
9 high road components, I think that that would
10 really stretch those dollars in a way that really
11 maximizes the social good that we can have from
12 this money.

13 COMMISSIONER SCOTT: Bonnie.

14 MS. HOLMES-GEN: Yeah, I just wanted to
15 back up Joel's comments and just say, I mean, I
16 think there's a lot of recognition and certainly
17 desire on the part of everybody at the Commission
18 and in the room to make sure that the
19 manufacturing and the workforce development
20 funding is truly promoting our equity goals.

21 But I don't really see much discussion
22 about it in the documents. And so, I just think
23 we need to connect up what we're talking about
24 here with the information that we're providing.

25 And I know, you know, again there's a lot

1 of information you already included in here. But
2 I do think that it's important to connect the
3 dots in this document and talk about the ways
4 that the funding has promoted, you know, new job
5 skills and outreach in disadvantaged communities,
6 and communities that are in high air pollution
7 areas, and the way that upcoming funding cycles
8 can help to promote equity goals.

9 I really think that we can do it, add a
10 little more flesh on the bone around that issue.
11 Thanks.

12 COMMISSIONER SCOTT: Thank you.

13 Other comments from Advisory Committee
14 Members?

15 Okay, I don't have -- oh, go ahead, Joel.
16 Yes, please.

17 MR. ESPINO: Yeah, a number that I failed
18 to mention throughout the day, I think, you know,
19 a lot of the times when you bring up the point
20 about equity, I mean it's definitely been an
21 evolving sort of concept in California's
22 statutory scheme through the past few years and
23 it's been translated into how agencies do work.
24 And I think we've made a lot of progress.

25 And I think a lot of times folks think

1 that this equity question, you know, it's the
2 morally right one to do. But, you know, a lot of
3 what I've been trying to say today, it's actually
4 the economically sound one as well.

5 Because, again, as we continue to grow
6 the economy, we need a larger middle class and we
7 need to help the low-income folks gain pathways
8 into middle class status.

9 And I just wanted to throw a statistic
10 out there just to really make the case. Our
11 friends at Policy Link did some research and
12 found that in 2014, in the United States, the
13 economy would have been \$2.3 billion larger had
14 there been no racial gaps in income.

15 So, this is just an example of how equity
16 is important in terms of all the policy making
17 that California makes in really ensuring that
18 we're looking at that macro question of, yes,
19 we're trying to reach our climate goals. But,
20 you know, the economy is the encompassing thing
21 that we need to really consider and how are we
22 making sure that our dollars are addressing the
23 economy and making sure that it's more inclusive.

24 And so, I just wanted to throw that out
25 there for folks in the room. Because I know that

1 the Energy Commission has been looking at this
2 issue closely for the past few years.

3 COMMISSIONER SCOTT: Thank you.

4 Any other Committee Members?

5 Okay, I don't have any blue cards from
6 people in the room. Okay.

7 I do have a WebEx comments from Urvi
8 Nagrani from Motiv Power Systems.

9 And I wanted to just say I'm very
10 strongly in support of this pool of funding.
11 Because one of the other benefits which I don't
12 think is being kind of mentioned is even if
13 you're not the company receiving a manufacturing
14 credit, the boost in investor perspective of a
15 robust clean tech economy helps us when we're
16 seeking private financing. Because you're not
17 the only one. Nobody wants to be in a single-
18 supplier industry because that means a single
19 failure, either technical or business can bring
20 something down.

21 And one of the things that's been really
22 good about this grant over time is it's increased
23 the number of players, which means that, you
24 know, everything ranging from buying batteries to
25 cable supplies, we can talk to other companies,

1 and other engineers, and have somebody saying,
2 oh, have you worked with this supplier.

3 And when you're talking about, you know,
4 the maintenance perspective, if you've worked on
5 an electric vehicle before, you're more likely to
6 understand how to maintain another electric
7 vehicle.

8 And so, those sorts of ancillary benefits
9 of knowledge transfer, as well as more robust
10 information in general, both on the business
11 side, as well as on the consumer side is very
12 helpful, even on the years when we don't get
13 anything.

14 And also, for Motiv, when we got our
15 manufacturing pilot grant, it gave us an
16 opportunity to build electric power trains that
17 are now being deployed in school buses.

18 And so, the lifecycle of from the design,
19 to the building, and the jobs created on that, as
20 well as the implementation and the air quality
21 benefits has led to a net win that's made it
22 really easy for every community we've partnered
23 with to see the benefits.

24 And so, I think this is one of those
25 programs that the CEC really hit the nail on the

1 head and should consider to support in a robust
2 way.

3 COMMISSIONER SCOTT: Thank you.

4 Do I have any other comments on the
5 WebEx? Okay, I'm seeing a no.

6 So, we have one small category left. We
7 have made it. Thank you, everyone, for all your
8 great energy and your advice. We're going to be
9 looking at Emerging Opportunities, where we have
10 a \$4.2 million proposed allocation.

11 Do you want to say anything else about
12 that, Jacob, or should we just go right to the
13 Committee?

14 We will go right to the Committee. And
15 if you recall, Emerging Opportunities, is to help
16 us with Federal grants and to leverage dollars
17 within Federal grants. Sometimes, something
18 comes up that we didn't know at the beginning of
19 the year, but do know mid-year, and it's
20 something that we might like to support. So,
21 that's the type of thing that is captured with
22 this category, just as a reminder because it's
23 been a little while since we saw that slide.

24 Committee comments? Tyson?

25 MR. ECKERLE: It's very wise to keep this

1 section going, so we appreciate it.

2 COMMISSIONER SCOTT: Joel?

3 MR. ESPINO: I'm just curious if there
4 are any concrete examples you can provide us of
5 how you've used this funding? I guess I'm still
6 having a little bit of trouble figuring out how
7 you would use this funding.

8 MR. KATO: Well, an example is from last
9 year. Before hydrogen shifted over to the
10 Biofuels, this is where we would explore emerging
11 opportunities. And so, these are things that are
12 kind of on the cusp, they're emerging so to
13 speak. And so, this allows us to kind of invest
14 and do a little extra research up front.

15 And we've done a lot of -- there's a lot
16 of opportunities that have come across in the
17 past where the Department of Energy, USEPA, they
18 have their kind of solicitation as well, and we
19 help partner with districts who need
20 partnerships. For example, air districts. We
21 want to compete for those funds that are very
22 specific to the regions and this helps to
23 leverage and make them more competitive more
24 Federal funds. And so, this helps leverage more
25 dollars for California and so we've done it in

1 the past.

2 MR. ESPINO: So, just to clarify, so
3 would this money be available for kind of like in
4 the technical assistance type cost or is this
5 more --

6 MR. KATO: Well, it could be and that's
7 where the flexibility is encapsulated in this
8 category. So, it could be in that. But it gives
9 us that kind of discretion to help in areas that
10 we can't really predict, and so that's one of the
11 areas.

12 I guess one other area is we helped with
13 the emerging ops. I think we helped fund the
14 Hydrogen Panel. No, that's different.

15 COMMISSIONER SCOTT: No, that's a
16 different one, yeah.

17 MR. KATO: I'm sorry. So, but, yeah,
18 that's pretty much it.

19 COMMISSIONER SCOTT: Other comments from
20 the Advisory Committee?

21 Okay, well, we have made it -- oh, wait,
22 hold on. Is there public comment in the room? I
23 do not have any blue cards.

24 Okay, and I do have a comment coming in
25 from the WebEx, so hold on just a second so I can

1 see who it is. Thank you.

2 Ed Pike.

3 MR. PIKE: So, hi. I don't know if I had
4 my hand up from a prior session. Let me fix
5 that, sorry.

6 COMMISSIONER SCOTT: Oh, okay, so no
7 comment on emerging opportunities? Sounds like
8 not.

9 Okay. And then we do just typically, at
10 the end, check to see whether or not there's any
11 public comment on the Investment Plan in general.
12 I don't see any here in the room.

13 Do we have any on the WebEx? Oh, yes,
14 one more comment coming in. Jordan Miller.

15 MR. MILLER: Hi. Yes, thank you. I'm
16 with the Center for Transportation and the
17 Environment.

18 And I just wanted to quickly ask, on the
19 Emerging Opportunities Category whether there was
20 any sort of concrete idea of what quarter that
21 would be coming out in and if there was a more
22 solid focus, or if the goal of the funding as
23 really just when? I mean, I guess the name sort
24 of says it. But when opportunities emerge, you
25 use it.

1 Is there a general umbrella sense of what
2 the funding will be directed for?

3 MR. ORENBERG: Hi Jordan. So, yeah, the
4 Emerging Opportunities Category, we don't have
5 regular solicitations that use this funding.
6 This funding is really there to fund projects
7 that were not anticipated during the development
8 of the Investment Plan.

9 So, there's no planned solicitation, yet,
10 for the fiscal year '18-'19 funds.

11 MR. MILLER: All right, thank you.

12 COMMISSIONER SCOTT: Thank you. Let me
13 just, last call for public comments on the
14 investment plan?

15 Okay, seeing none I would just -- oh, I'm
16 sorry, Bonnie. Please go ahead.

17 MS. HOLMES-GEN: No, I'm sorry. It's
18 just I'm confused if we're on the item, or the
19 plan, or where we're at.

20 COMMISSIONER SCOTT: Well, we're wrapping
21 up the item, but you're welcome to comment on the
22 item or the plan.

23 MS. HOLMES-GEN: The plan, okay. I just
24 wanted to say, after this whole day of
25 discussion, that we ought to be really excited

1 about this package of investments and the
2 tremendous work that's been done over the past
3 ten years, and the progress that we've made has
4 been very exciting.

5 So, I just think this is -- you know, we
6 have an exciting year ahead with this pot of
7 funding, combined withal the GGRF, and the
8 Electrify America, and all the other pots that
9 you've mentioned in here. I think we're going to
10 see some tremendous progress.

11 And I just wanted to say, one, is it
12 possible for the next meeting to just have a
13 general list of the issues that you've gleaned
14 from this discussion that you've responded to,
15 and any changes that you make in the plan, of our
16 next discussion. Just to kind of call those out.

17 And a second thing I just wanted to say
18 is that I understand we're not going to be at
19 renewable hydrogen tomorrow. I just think that
20 it's important to talk about these goals, and
21 track progress, and understand where we're at.
22 So, I just wanted to make that clarification.

23 MR. ORENBERG: And just to clarify, at
24 the next Advisory Committee meeting I will
25 specifically be calling out, in my presentation,

1 which changes we have made to the Investment
2 Plan.

3 COMMISSIONER SCOTT: John?

4 MR. SHEARS: Yeah, I just want to thank
5 staff for all the work, but also just want to
6 echo the comments about highlighting more
7 thoroughly in the Investment Plan, you know, how
8 the Energy Commission sees this sort of helping
9 to address the issues that have been raised
10 around disadvantaged communities.

11 It's also important, you know, for the
12 Legislature to be able to see that. And also,
13 just for public consumption purposes. So, I
14 think overall it just helps out with sort of that
15 sort of immediate sort of first order level of
16 support for the program to be able to openly
17 speak to that. So, I think it's a critical and a
18 selfish basis for the program, but it's also, I
19 think, important to acknowledge and openly
20 recognize that that's an important part of the
21 work of the program.

22 COMMISSIONER SCOTT: And we have a good
23 story to tell there, so we should get it out
24 there.

25 Are there any other Committee comments?

1 Okay, let me just do just a quick set of
2 closing remarks for you all.

3 A reminder to everyone, we really want to
4 hear from you. Please do put in a set of written
5 comments for us. That deadline is November 17th.
6 And I don't know if we have -- the link is here,
7 up on the screen for you to see.

8 I want to say a special thanks to our new
9 Members who joined us today, to Matthew Barth,
10 who wasn't able to join us. But to Joel Espino,
11 to Ellen Greenberg, Casey Gallagher, Steve Cliff
12 and Irene Gutierrez. Thank you so much for
13 coming and being part of our Advisory Committee.
14 We're just delighted to have you and your
15 expertise here.

16 And I want to say thank you to all of our
17 Advisory Committee Members because we're
18 delighted to have you, as well, and all of your
19 expertise, and the constructive feedback, and the
20 great thoughts and ideas that you bring to us
21 every year as we're putting this plan together is
22 invaluable. So, we really do appreciate the time
23 that you take to spend the day with us.

24 We usually do two days and then to put in
25 your public comments. So, I just appreciate that

1 so much. Thank you for your great thoughts and
2 comments.

3 I want to say thank you to our FTD team
4 for their presentations today, which was Bill,
5 Brian, Tami, Jane, Jean, Sarah, Andre, Sam and
6 Larry. Thank you, guys all so much. We have a
7 terrific set of people that spend all day, every
8 day, really working hard on these issues.

9 And then, of course, we couldn't leave
10 without a great thank you to Jacob, who puts
11 together just a fantastic report. It's really
12 well written. It's got a lot of great
13 information in it. He's the lead for us on this
14 Investment Plan and the Advisory Committee, and
15 so we really appreciate the fantastic work that
16 you do every day, as well. So, thank you very
17 much, Jacob.

18 MR. ORENBERG: Thank you, Commissioner.

19 (Applause)

20 COMMISSIONER SCOTT: And with that, we
21 are adjourned. Thank you, everyone.

22 (Thereupon, the Workshop was adjourned at
23 4:32 p.m.)

24 --oOo--

25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 20th day of November, 2017.




Eduwiges Lastra
CER-915

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 20th day of November, 2017.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520