

DOCKETED

Docket Number:	17-BSTD-01
Project Title:	2019 Building Energy Efficiency Standards PreRulemaking
TN #:	219821
Document Title:	Transcript of 06062017 Pre-Rulemaking Staff Workshop on 2019 Residential Energy Standards
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	6/21/2017 11:33:15 AM
Docketed Date:	6/21/2017

APPEARANCES

CEC Staff Present

Payam Bozorgchami, Moderator
Matt Chalmers, Esq., Legal Counsel Office, CEC
Dave Springer
Marian Groebus
Bruce Wilcos
Mr. Roy
Frank Stavonic
George Nesbitt
Rob Penrod
Chris Walker
Jon McHugh, McHugh Energy
Ryan Sit, Integral Group
Peggy Jenkins, ARB
Tom Feltz, Healthy Building Research
Mara Batari, Embedded Systems
Val (*)
John Neresco
George Nesbitt

Presenters

Jeff Miller, Building Standards Office
Mark Alatorre, Building Standards Development Office
RJ Wichert, Building Standards Office

Public Comment

Bob Raymer, CBIA
Nehemiah Stone, Stone Energy
Mike Hodgson, Consol
Marian Groebus
Bret Singer
Bob Tuck, Atlas Heating and Air-Conditioning, Oakland
Bruce Wilcox
Mr. Roy
Frank Stanonik, AHRI
George Nesbitt, HERS Rater
Rob Penrod, Villara Corporation
Chris Walker, CAL SMACMA
Jon McHugh, McHugh Energy Consultants
Ryan Sit, Integral Group
Peggy Jenkins, CARB
Tom Feltz, Healthy Building Research
Mara Batari, Embedded Systems
RJ Wichert
Val (*?)

I N D E X

	Page
Introduction and Overview	
Mr. Payam Bozorgchami - Civil Engineer CEC	4
- Purpose of the Workshop	
- Introduction to the 2019 Standards Update	
Energy Commission's Indoor Air Quality Authority	
Matt Chalmers	9
Public Comments and Questions	
Residential Indoor Air Quality Requirements	
Jeff Miller	11
Public Comments and Questions	34
Nonresidential Indoor Air Quality	
Mark Alatorre	69
Public Comments and Questions	80
Induction Exhaust Fans	
RJ Wichert	96
Automatic Sash Closure System Measure	
RJ Wichert	
Public Comments and Questions	108
Hybrid Condensers	
Mark Alatorre	109
Loading Dock Seals	
Payam Bozorgchami	119
Public Comments and Questions	122
Closing Remarks	124
Adjournment	124
Reporter's Certificate	125
Transcriber's Certificate	126

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

JUNE 6, 2017

9:16 a.m.

MODERATOR BOZORGCHAMI: I'm going to start. I apologize for being a little bit late. We had some technical issues going on. RJ -- sorry about that. So real quick, some housekeeping rules, items. Restrooms, outside through the two doors to your left. Snack bar upstairs. And in case of an emergency please when we evacuate the building, please meet at the Roosevelt Park across the street and we'll reconvene over there.

Today's discussion is going to be mostly about indoor air quality, and nonresidential exhaust fans and loading docks and systems like that. But first of all, we got to go through some formalities we do every time we have these presentations.

The history of the Energy Commission, how it started by two legislations of Warren Alquist in 1975 under Ronald Reagan, and it was funded by Jerry Brown when he first came into office.

Some of the goals that we have here at the Energy Commission that was set up on us by the governor and legislation. I'm going to go through these slides real quick, because I want to -- we're behind about 15 minutes. I want to try to catch up.

So the other responsibilities that we have here

1 at the Energy Commission, we're looking at permitting
2 power plants 50 megawatts or larger. We're looking at
3 fuels and transportation and our forecasting measures of
4 what's looking for our energy usages.

5 One of our goals is to avoid power plants and
6 maintaining a reliable, affordable in safety and energy
7 measures, and looking at the lowest cost and the least
8 environmental impact to society. Energy Commission with
9 the staff of its utility partners, develop the standards
10 every three years, and we provide these measures at
11 meetings like this.

12 But I would like to thank the utility partners
13 that helped out with these measures that we're going to be
14 hearing today. Those would be Pacific Gas and Electric,
15 Southern California Edison, San Diego Gas and Electric,
16 Sacramento Municipal Utility District, Los Angeles Power -
17 - Department of Water and Power, Southern California
18 Public Power Authority, who helped out with the 2019
19 standards.

20 And I would also like to thank Heidi Hallenstein
21 and Kelly Cunningham to keep us moving forward and keeping
22 the program moving and helping with the communications
23 between the utilities and the CASE authors and the Energy
24 Commission staff.

25 As you know, California is divided into 16

1 climatic zones. It's not -- it's a little bit different
2 than what ASHRAE has. ASHRAE has us as all climate zones
3 three, where you're looking at San Diego being part of
4 climate zone three, and also areas like Stockton being
5 under climate zone three, where we know that doesn't work.
6 So -- for California. So we divided California into 16
7 climatic zones based on the degree temperatures.

8 All of our measures have to go through a
9 rigorous life cycle cost analysis based on the current
10 time dependent value. This is based on the energy
11 consumption for every hour of the year. Where we're at
12 right now, this is our tentative time line of how we need
13 to get the 2019 standards moving forward to meet our time
14 that's set on us by the Commissioner and the Building
15 Standards Commission.

16 Right now, we're in the August 2016 to June 2017
17 era where we're looking at measures and workshops and
18 doing the pre-rule-makings. The 45-day language will be
19 happening around the December-November time era.

20 Here's the time line of the discussion topics
21 that we're going to be -- that we've gone through so far
22 and what we're presenting today, Indoor Air Quality
23 Measures, Laboratory Measures and Warehouse Topics are on
24 for today's schedule.

25 June 20th will be the Nonresidential HVAC

1 Measures. June 22nd will be the Nonresidential Lighting
2 Measures. June 29th will be the Residential HVAC Measures
3 with one exception. The Small Docked, High Velocity
4 Measure will be presented on July 13th.
5 It'll be the first topic of that day.

6 July 18th will be our Solar and Storage and the
7 EDR or Energy Design Rating that's going to be happening.
8 And we kept August 30th just in case that we fall behind
9 and we need that date. The case reports, the draft case
10 reports, you could find these on the 2019 Title 24 Utility
11 Sponsor Stakeholders' website.

12 The Building Energy Efficiency Standards Program
13 is our website here where you could get the notices and
14 see what's happening and what we have in our -- for 2016
15 standards, where we're at for 2019. Our comments link is
16 below.

17 For today's meeting please submit your comments
18 by June 23rd, close of business. That's very important
19 for us. And also, at these meetings, the more
20 communications we have from the public, the better at this
21 time, versus trying to have that communication later on,
22 because we need that time to really think about the issues
23 and topics that the public brings to us.

24 So if you could -- if you have any concerns
25 please, when you come up to the microphone, state your

1 name and your affiliations, and we would like to hear what
2 you have your -- we would like to hear your comments.

3 Some contact information for our senior staffs,
4 and any questions?

5 MR. RAYMER: Yeah. Bob Raymer, with CBIA.
6 Could you go back to the dates? I've got a question about
7 the July 29th -- or I'm sorry, June 29th. You've got
8 Residential HVAC listed there. Originally we had that for
9 hospitals.

10 MODERATOR BOZORGCHAMI: The hospitals are also
11 on 28th.

12 MR. RAYMER: Okay.

13 MODERATOR BOZORGCHAMI: But the OSHPOD's having
14 their own internal meeting on the 28th, and so we had to
15 move that down to July 13th.

16 MR. RAYMER: Okay. Thank you.

17 MODERATOR BOZORGCHAMI: So with that, I'm going
18 to get the mic to Matt Chalmers. He's with our Legal
19 Counsel Office and he's going to give us a quick
20 presentation.

21 MR. CHALMERS: Morning, everyone. I'm Matt
22 Chalmers. I'm an attorney here with the Commission, here
23 to briefly discuss CEC's legal authority to regulate
24 indoor air quality. This probably will not last very
25 long, since the law involved here is fairly

1 straightforward.

2 In short, CEC isn't just authorized, but we are
3 in fact required under California law to address indoor
4 air quality when setting building efficiency standards,
5 and have been for the better part of the past three
6 decades.

7 So first, I'd like to show you here public --
8 California Public Resources Code Section 25402.8. Feel
9 free to read this. These slides are also going to be
10 available. But in plain English this, once again, not
11 only authorizes but directly requires the Energy
12 Commission to address indoor air quality when considering
13 building standards.

14 As you can see, this requirement was enacted in
15 1988, and this has been a routine consideration at the
16 Energy Commission for decades. We are also required to
17 address indoor air quality by another set of statutes.

18 This is only slightly more complex. The
19 Commission's authority to promulgate building standards
20 comes from Public Resources Code 25402, as we saw earlier.
21 California law requires the Commission to not focus solely
22 on efficiency.

23 Instead, we're required to consider and justify
24 the need for building standards on the basis of other
25 factors, such as health and safety. For example, under

1 California Health and Safety Code Section 8930, note that
2 the Section 18935 referenced above is procedural, which we
3 don't need to worry about here.

4 Under Section 8930 of the Health and Safety Code
5 we are required to address the public interest. So here,
6 the public interest requires the adoption of our building
7 standards. Now, the public interest is defined
8 immediately afterward as, including, but not limited to,
9 first health and safety, and then if we skip ahead, and
10 consistency with public health statutes and regulations.

11 So in short, that means we have two likely
12 independent justifications here. The first is that we
13 have to be consistent with health and safety itself, and
14 then we have to be consistent with health and safety
15 statute and regulations.

16 So that takes us over to California Health and
17 Safety Code 105400. In 1982, the California Legislature
18 declared that the people have a primary interest in indoor
19 air quality and that degrading indoor air quality
20 endangered public health, safety and welfare. You can see
21 that down at the bottom.

22 The California Legislature then continued onward
23 by noting that we are required to comply with mandatory
24 efforts to protect and enhance the indoor environmental
25 quality in residences, public buildings and offices in the

1 state.

2 In short, the California Energy Commission is
3 required by law to insure that building standards are
4 consistent with Health and Safety Code 105400 and 105410.
5 And with that, I'm happy to answer any questions.

6 Okay. And I'm hearing that we have nothing
7 online. So with that, I'm going to turn it back over to
8 Payam.

9 MODERATOR BOZORGCHAMI: So with that, we're
10 going to have Jeff Miller present the proposal for the
11 Residential Indoor Air Quality requirement.

12 MR. MILLER: Which controls? How do I go back
13 and forth?

14 (Pause)

15 MR. MILLER: Okay. Good morning. Am I
16 broadcasting? Okay. My name's Jeff Miller. I'm an
17 engineer in the Building Standards Office, and I'm going
18 to talk about Residential Indoor Air Quality, the
19 proposals for the 2019 Standards.

20 I want to acknowledge our case authors, the
21 California Utilities Statewide Codes and Standards Team,
22 Dave Springer and Marian Groebus. Thank you. This is a
23 very high level overview of the slide deck. So for
24 background.

25 There was a study that was published in 2009 by

1 Offerman. It was funded by the California Air Resources
2 Board, which studied 105 homes and discovered that nearly
3 all the homes had formaldehyde concentrations exceeding
4 guidelines for cancer and chronic irritation, while 59
5 percent exceeded guidelines for acute irritations, this
6 very concerning result.

7 It was known, the results of this research were
8 known in advance of the publishing of the report and were
9 strong motivators to the Energy Commission. The Energy
10 Commission then determined to adopt by reference ASHRAE
11 62.2, the 2007 version.

12 That included mandatory mechanical ventilation
13 in newly constructed buildings, and a California amendment
14 was to exclude window operation, because another finding
15 in the Offerman Study was that occupants were not using
16 their windows.

17 A large percentage of the occupants were not
18 using their windows and yet they had contaminated air they
19 were breathing. MERV 6 air filters were required on space
20 conditioning systems under that standard.

21 Subsequently, in the 2013 and 2016 updates to
22 the California Title 24, Part 6 adopted a version of
23 ASHRAE 62.2, which was somewhere between the 2010 version
24 and the 2013 version. 62.2 is under constant maintenance.
25 So as each new addenda is approved it's considered to be

1 part of the Standard, the current Standard, even though
2 it's a separate published edition to the Standard.

3 So that's the version of 62.2, we call it the
4 California version, that we've been using for the 2013
5 Standards and the 2016 Standards. And that included
6 mandatory HERS verification for the whole building, indoor
7 air quality airflow.

8 What we're going to consider is adoption of the
9 2016 Standards for 2019 Title 24. Another study reducing
10 in-home exposure to air pollution, a Singer, Bret Singer
11 study, also funded by Air Resources Board, completed in
12 2016, evaluated eight combinations of ventilation air
13 cleaning systems for pollutant removal and energy use.

14 The systems were installed in an unoccupied 2006
15 house located 800 feet downwind of Interstate 80 in
16 Sacramento. The results demonstrated substantial benefits
17 of high efficiency filtration at reducing air pollutant
18 exposures, but with varying energy costs associated with
19 that.

20 MERV 13 to MERV 16 filtration on a central
21 forced air system reduced outdoor PM 2.5 by 90 to 97
22 percent when that system was operated at least 20 minutes
23 each hour or continuously at low speed.

24 Exhaust ventilation, pulling outdoor air through
25 the envelope, this was a surprising finding. It yielded

1 indoor PM 2.5 levels that were reduced to 70 percent lower
2 than outdoors. It was that ventilation system
3 configuration was performing almost as well -- it was
4 performing actually a little bit better than a supply
5 system with MERV 13 filtration of outdoor air.

6 The study also determined that deeper air
7 filters was beneficial for system operation and for
8 particulate removal. One of the key changes as compared -
9 - comparing the 2016 version of 62.2 with the current
10 version that we're operating under is the method of
11 calculation of the target airflow rate.

12 When I do this, yeah, the -- okay. So you can
13 see this cursor. So the current calculation method uses a
14 factor of one percent here times the floor area in
15 determining the airflow rate. In the 2016 version of 62.2
16 that number is increased to .03.

17 We actually have this .03 version in our current
18 Standards, as well, along with the infiltration credit at
19 it's -- it's just an optional compliance pathway in our
20 California version. But it's not likely that many people
21 will use it because it's so easy to use just the standard
22 calculation.

23 So the new methodology eliminates the
24 opportunity to have this default value of one percent
25 times the area of the floor, and instead offers an

1 opportunity to reduce this total indoor air quality
2 airflow requirement according to the amount of
3 infiltration the home has.

4 And so there's an infiltration calculation,
5 infiltration credit calculation that cannot be more than
6 two-thirds of a reduction of the total air. And so the
7 final value for the target, for the requirement for indoor
8 air quality airflow, Q_{Fan} , is Q_{tot} minus Q infiltration.

9 Partial credit is given for horizontally
10 attached, single-family dwellings. Another change is that
11 the 62.2 scope now covers high rise residential dwellings.
12 It's actually a pretty big new item for us to react to.

13 The intermittent ventilation section of our
14 current 62.2 version has been changed. It's gone and now
15 three sections, variable mechanical ventilation, real time
16 control equivalent ventilation provide options for
17 compliance using alternative system designs or controls.

18 But 62.2 does not provide any guidance for
19 methods to verify that these systems would comply with the
20 required ventilation airflow rate. So I think that's a
21 challenge for enforcement going forward.

22 There is a -- I would call it a guideline, a
23 optional blower door methodology for determining dwelling
24 unit air tightness. In the current Standards, in current
25 62.2, it's -- the target value for compliance is 0.2 CFM

1 per square foot of dwelling envelope area, and that's been
2 loosened to .03.

3 It was thought that this was more attainable.
4 Also, there's something about gravity barometric dampers,
5 nonpowered, makeup air systems are not allowed for
6 providing compensating outdoor air. It's new for this
7 version of 62.2.

8 The new calculation methodology for determining
9 the airflow rate calculation using infiltration credit,
10 one of our first considerations was -- seems like this is
11 going to be a mandatory blower door test for every
12 dwelling.

13 And one of the first amendments that we arrived
14 at was to determine to use a default value so that we
15 could arrive -- so we could know what the value of airflow
16 was in advance of the building being built and, you know,
17 checking the blower door leakage of the dwelling.

18 Just to give you a sense of what the -- how the
19 values for airflow change based on blower door HCH 50, the
20 tallest light blue bar represents the airflow rate that
21 you would be required to provide if the building was very,
22 very tight, only one HCH 50 blower door result.

23 The dark red bars represent 5ACH50, which is
24 what our standard design is now in our performance
25 compliance software. And also, it's -- correct me if I'm

1 wrong, anyone, but I think it's considered to be very,
2 very similar to what most new homes attain in terms of
3 envelope tightness. Maybe that's becoming tighter these
4 days.

5 Also interesting, I think is 7ACH50 is right
6 down close to the maximum that you could be allowed to
7 have for an infiltration credit. So this is the one-
8 story, what a one-story looks like. There's the two-
9 story. It has a little different shape, but same
10 tendencies.

11 I'll do just a high level overview of the
12 proposed Code changes, then go back through them again in
13 a little more detail. Probably could have done a once-
14 through, but that's the way it's going to go.

15 The scope is new-constructed buildings,
16 additions greater than 1,000 feet, single-family, low rise
17 multi-family, high rise multi-family is new, and altered
18 components and existing buildings have always been
19 required to comply with the standard.

20 So the new 62.2 2016 California amendments, the,
21 amend the method of calculation for dwelling unit
22 mechanical ventilation rate. They use a default value of
23 2ACH50 for calculation of infiltration credit for
24 determining required dwelling ventilation rate for all
25 dwellings.

1 No blower door test required for almost all
2 dwellings. There was an exception. There's an increased
3 air filter efficiency from MERV 6 to MERV 13, and a
4 requirement for two inter-depth filter grills to be
5 installed.

6 We are also going to require air filtration for
7 supply ventilation systems and the supply side of balanced
8 ventilation systems. And just to note, the air filter
9 requirement currently applies only to ducted space
10 conditioning systems.

11 For multi-family dwellings, they may comply --
12 they may only use balanced ventilation or there's a
13 requirement for HERS verified dwelling enclosure ceiling
14 if they use unbalanced. We're adding a HERS verification
15 to insure that a kitchen range hood is HVI certified.

16 And for a high rise multi-family there's the
17 scope change from 62.1 to 62.2, which will result in a
18 reduction to the mechanical ventilation airflow rate for
19 those dwellings, and we'll be asking for HERS verification
20 of the central ventilation duct shaft if the building has
21 that type of system, seal it to less than or equal to six
22 percent of the total system airflow, and also, to balance
23 the system so that the required amount of airflow is being
24 provided to each of the dwellings. And that airflow
25 should be greater than or equal to the 62.2 minimum.

1 I think it's important to emphasize that for
2 calculating the infiltration credit, which requires a
3 blower door test, we have two different, very similar
4 reasons for doing a blower door test of a dwelling. One -
5 - and we're going to decouple those two reasons, those two
6 uses of a blower door test.

7 So for energy efficiency credit we have a blower
8 door test that's required if you claim that you can have a
9 tighter envelope higher than the standard 5ACH50. So a
10 blower door test would be required for that.

11 And it's very easy to think that a blower door
12 test that's done for that measure would also be used to
13 calculate the infiltration credit, but it's not the way we
14 have it structured. We have them decoupled, separated.

15 So we will use a default value of 2ACH50 to
16 determine the indoor air quality airflow rate for almost
17 all buildings. The only exception would be is if the
18 building is actually claiming credit for tightness below
19 2ACH50. Then in that case the indoor air quality airflow
20 rate will be based on the proposed air leakage for the
21 dwelling.

22 The infiltration credit is not allowed for
23 multi-family dwellings. No change in that. And this is
24 just another expression of another way of describing what
25 the IAQ airflow rate calculations would look like.

1 The flat line shows that that's a straight use
2 of 2ACH50 till you get down to two, and then when you
3 propose less than 2ACH50 then the infiltration credit
4 becomes smaller and the mechanical ventilation airflow
5 rate that is required gets larger.

6 And that's a profile for the values for each
7 climate zone, based on 2ACH50. So since the calculation
8 uses not only the building envelope leakage, but also
9 weather data, that's what accounts for the variation from
10 climate zone to climate zone.

11 And I don't know if we've determined whether
12 we're going to use climate zones or weather stations. I
13 don't have an answer to that, Bruce, and I don't know if
14 it's been decided. Okay. So now, the filtrate efficiency
15 topic.

16 So goals to reduce dwelling indoor particulate
17 matter concentrations due to both indoor and outdoor
18 contaminant sources. California has one of the most
19 serious particulate pollution problems among the states,
20 human caused emissions, mainly vehicles, windblown
21 particulates from roadways, deserts and agricultural
22 operations.

23 PM10 contamination affects almost all areas of
24 the state. PM2.5 contamination is more concentrated near
25 busy roadways in the Central Valley and metropolitan

1 areas. Kitchen ranges are also a major source of PM2.5.

2 So our proposed requirement for air filter
3 efficiency is to require MERV 13 air filtration on ducted
4 space conditioning systems. Currently, the requirement is
5 MERV 6. Additionally, proposing to require MERV 13 air
6 filtration on supply ventilation systems and on the supply
7 side of balanced ventilation system. That's a new
8 requirement.

9 There are considerations that people are going
10 to want to discuss about this proposal. So central fan
11 run time is limited to calls for space conditioning, and
12 thus, it limits the amount of time devoted to air
13 filtration.

14 MERV 13 filters may impose approximately five
15 percent higher pressure drops for equivalent filter face
16 area sizes. So attention to proper filter grill sizing is
17 necessary during the system design and installation.

18 A two-inch depth filter grill is proposed.
19 Increased HVAC filter replacement costs will be an issue.
20 Increased cost for installation of the two-inch filter
21 grill and Title 20 labeling requirement for effective date
22 has been postponed until 2019.

23 However, some filter manufacturers have already
24 begun complying with the labeling requirement which
25 provides the performance information needed to do the

1 design work for the systems, the pressure drop
2 information.

3 I thought to just share some graphics here to
4 highlight some of the challenges faced by multi-family
5 dwellings. Infiltration in a single-family dwelling is
6 easily used for indoor air quality purposes, but the same
7 is not true for a multi-family building.

8 Multi-family dwellings within a multi-family
9 building leak across party walls, and that presents a
10 problem for -- a variety of challenges arise from that,
11 and it makes exhaust ventilation a questionable way of
12 accomplishing indoor air quality in these dwellings.

13 So stack effect is one aspect of a multi-family
14 building that is worth paying attention to. Hot air
15 rises, and thus, airflow will rise up through ceilings and
16 floors between dwellings and will create the higher
17 pressures in the higher levels of the building and lower
18 pressures in the lower level of the building.

19 But this is again an expression of airflow from
20 dwelling to dwelling within a multi-family building. Wind
21 effect causes higher pressures on one side of the building
22 than the other, forcing air to flow through holes in the
23 walls in these dwellings and distribute air between the
24 dwellings, transfer air between the dwellings.

25 Also, mechanical systems provide pressure

1 differentials that drive air transfer between dwellings in
2 multi-family buildings. So compartmentalization is a word
3 that I've been hearing a lot this year.

4 And in multi-family, compartmentalization is
5 desirable, and so it's an expression of how well sealed
6 the dwellings are. And well, I'll just launch into these
7 bullets. Multi-family dwelling envelope ceiling for
8 building.

9 Energy efficiency is mainly concerned with
10 infiltration air leakage to the outside of the building,
11 emphasizing leakage to outside. California Title 24
12 Building Energy Efficiency Standards currently does not
13 require multi-family buildings or dwellings to comply with
14 a blower door verification to limit building envelope
15 leakage.

16 Many states require compliance with the IECC
17 blower door performance metric, 3ACH50 or 5ACH50,
18 depending on the climate zone. California Title 24, these
19 -- currently does not offer energy efficiency credit for
20 multi-family buildings for reduced infiltration air
21 leakage.

22 The issue here is we really don't have a
23 reliable metric for determining the leakage to outside in
24 a multi-family dwellings. Blower door testing of
25 individual multi-family dwellings units determines leakage

1 that is a combination of leakage to outside the building
2 and leakage to adjoining dwelling units through the floor,
3 ceiling and walls. It's transfer air.

4 Transfer air can transmit pollutants between
5 dwellings, so as to adversely affect indoor air quality.
6 Unbalanced, that is, supply only or exhaust only
7 ventilation systems may create pressure differences
8 between dwellings and thus increase the transfer airflow
9 between the dwellings.

10 A balanced ventilation system minimizes pressure
11 differences in the dwelling due to the ventilation
12 airflows. Title 24, Part 6, Section 110.7 general
13 requires sealing of the building envelope, but does not
14 specifically require sealing to limit air leakage between
15 dwellings.

16 That's the transfer air in multi-family
17 buildings. However, ASHRAE 62.2, 2016 version, Section
18 6.1 requires sealing of partition walls between multi-
19 family dwellings. So it's a mandatory requirement and has
20 been.

21 So these are the proposed requirements for all
22 multi-family dwellings, and so compliance with either
23 Option A or Option A is required for compliance with the
24 dwelling unit ventilation airflow rate requirement.

25 And Section 4 of ASHRAE 62.2, 2016 with

1 California Amendments Option A, allow use of unbalanced
2 ventilation systems, and that would be exhaust only or
3 supply only, with passive makeup or relief air vents only
4 if a HERS blower door test verifies that the dwelling unit
5 envelope leakage is less than 0.30 CFM 50 per square foot
6 of dwelling envelope area, using the procedure in ASHRAE
7 62.2.

8 Option B would be to require use of a balanced
9 ventilation system, and that could be an HRV, ERV or a
10 paired standalone supply and standalone exhaust system.
11 Could also be a balanced multi-family building central
12 system.

13 Additional guidance for best practices to assist
14 with improved compartmentalization ceiling will be
15 provided in the Residential Compliance Manual. And I
16 don't think I want to mention -- there's a new procedure
17 that is applying the aero sealing method that has been
18 applied to ducts previously, but is being used
19 successfully in multi-family buildings and is making it
20 possible to tighten these dwellings down to a very, very,
21 very low level, very, very tight.

22 Here's some graphics that show some variations
23 on multi-family building system types. This is a supply
24 only system, a single fan providing air to three dwellings
25 at a time. Over here, this is a balanced multi-family

1 building central system.

2 For the case that the building has a central
3 exhaust system on the roof with a shaft, balancing of that
4 system is important, as displayed in these graphics.

5 Without balancing, without some method of balancing, the
6 air flow to the dwellings or from the dwellings would be
7 much greater closest to the fan and higher up in the
8 building.

9 With some kind of regulating device on each of
10 those air inlets, could be self-regulating, could be
11 manual, the amount of air being exhausted from each of the
12 dwellings can be made to be very much the same in all
13 dwellings, which is desirable.

14 So our requirements, our proposed requirements
15 for multi-family building central ventilation systems
16 require HERS or ATT verification of sealed ventilation
17 shafts or ducts to make less than or equal to six percent
18 of the total system airflow.

19 Also, HERS or ATT verification of ventilation
20 system air balance. So all dwelling unit ventilation
21 airflows are expected to be greater than or equal to the
22 required dwelling unit rate, but not more than 10 percent
23 greater than the required dwelling unit rate.

24 And the method of balance is optional. Methods
25 such as constant air regulation devices or orifice plates

1 may be used in conjunction with variable frequency drive
2 controlled central fans. We've compiled a few references
3 that we believe are supportive of our proposals.

4 I'm not going to spend time with them, but we
5 anticipate that you'll want to get a copy of the
6 presentation and study it further, and you can acquire
7 those references. Kitchen range hood topic. Many studies
8 have reported substantial emission rates of pollutants
9 from cooking.

10 Cooking associated with pollutants include fine
11 particulate matter. That's PM2.5, PM10, ultrafine
12 particles, PAH -- I ducked that one -- various volatile,
13 organic compounds; high operating noise levels discourage
14 range hood use, we've heard.

15 And range hood capture efficiency is not yet
16 regulated for residential products. However, an ASTM and
17 standard method of test is in development for residential
18 products. And it's worth also noting that by contrast,
19 commercial hoods are required to have a very high capture
20 efficiency, approaching 100 percent effectiveness is
21 expected for commercial hoods.

22 In 2008, 2013 and 2016 Title 24 Building Energy
23 Efficiency Standards adopted ASHRAE 62.2 requirements for
24 use of HVI certified kitchen range hoods rated to provide
25 100 CFM at three sone. Energy Commission staff has the

1 understanding that the required HVI certification for 100
2 CFM at three sone is often not enforced, and there are
3 currently no over-the-range microwave combination kitchen
4 hood products certified through HVI.

5 The graphic is just expressing the concept of
6 capture efficiency. So if 100 percent represents all of
7 the pollutants that are generated by the cooking and the
8 combustion at the range, if the exhaust hood over the
9 range pulls 40 percent, and that means that 60 percent of
10 the pollutants are being generated and distributed into
11 the dwelling.

12 What would be desirable is for 100 percent of
13 the pollutants to be exhausted and to not enter the
14 dwelling. So our proposed requirements for range hoods,
15 and from ASHRAE 62 2016, for an enclosed kitchen, a 100
16 CFM range hood or 100 CFM downdraft, vented to outdoors,
17 or five ACH continuous exhaust.

18 For a non-enclosed kitchen, a 100 CFM range hood
19 vented to outdoors, and all range hood exhaust fans less
20 than three sones unless the minimum's feed on the fan is
21 greater than 400 CFM. The proposed enforcement measure is
22 HERS verification that the hood is HVI certified to meet
23 100 CFM and three sone.

24 And so it would involve for HERS Rater, matching
25 the installed range hood's model number with that model's

1 listed performance in the HVI directory. I've compiled
2 some references to -- that describe the cooking hazards
3 that we're concerned about, that we believe are supportive
4 of our proposals, and references that describe efforts to
5 characterize capture efficiency.

6 So the remainder of the slide that will be very
7 similar to what you've already seen during the stakeholder
8 meetings, and I'll go through it really quick -- I didn't
9 even keep the track. Am I up beyond half-hour yet? Oh,
10 yeah? Okay.

11 So there'd be a larger ventilation fan call for
12 single-family homes due to the larger airflow requirement.
13 And I think that all of our costs are -- probably we'll,
14 as we work with this, we'll understand the costs better.

15 So I would characterize the cost information
16 that I'll describe today as preliminary in estimates
17 unless Dave or Marian disagree. So -- sorry. We thought
18 \$10 an incremental cost for the larger fans. For kitchen
19 range hoods, those combinations that meet 62 airflow and
20 noise requirements may not be available.

21 So additional costs for HERS verification is
22 another challenge. And so resolutions, possible
23 resolutions. Consider installation of a combination
24 microwave oven instead of microwave range hood. And urge
25 manufacturers to certify their products to HVI.

1 The extra cost for the higher MERV filter, if
2 we're talking about one-inch deep filters the cost may be
3 less than \$4. If the expectation is that the filter will
4 be two inches deep, which we're not requiring, we're
5 requiring two-inch filter grills, but if the filter is a
6 two-inch filter, that filter will be more expensive.

7 And I don't have an estimate on the extra cost
8 for that. But we are requiring two-inch deep filter
9 grills to be installed and there'll be an extra cost
10 associated with that, and I'll have a value in a later
11 slide for that.

12 We anticipate builders might resist the higher
13 costs of many of the ventilation air and
14 compartmentalizations, sealing requirements and so what we
15 offer as a resolution is consider that units that are
16 advertised as having cleaner, healthier air may have a
17 higher market value.

18 And for sealing, utilize the same sealing
19 contractors and strategies for sealing partition walls as
20 currently used for sealing exterior walls, and this may
21 provide an economy of scale for cost reductions.

22 Compliance and enforcement. Do I need to go
23 through these again, I wonder? Generally, design phase,
24 we create the CF1Rs, the -- I'm trying to -- I don't think
25 I want to read all these bullets. So we'll generate a

1 CF1R on the design phase and submit it to the Building
2 Department.

3 And the compliance process in the construction
4 phase is to install equipment that complies with the
5 requirements. Verification phase in residential units --
6 had a little message pop up there -- in residential uses,
7 verify dwelling unit IAQ ventilation airflow per current
8 practice and verify range hoods are HVI certified.

9 Multi-family dwellings, verify compliance with
10 less than 0.3 CFM per square foot if unbalanced
11 ventilation is being used. Otherwise, verify central
12 shaft ventilation leakage less than six percent if that's
13 applicable.

14 And who will perform the tests? HERS Raters
15 would continue to do these tests in low rise buildings,
16 and we might discuss who performs the tests in high rise
17 buildings. For high rise, residential dwellings we're as
18 a starting point suggesting that a HERS Rater would do
19 that because it's very similar to a single family
20 dwelling.

21 Barriers to compliance and enforcement,
22 verification of kitchen range hoods, how's performance
23 information obtained. We imagine the HERS Rater can carry
24 a directory, HVI Directory or be connected to the
25 directory wirelessly.

1 Testing and verification of multi-family central
2 ventilation ducts, fans and outside air provisions. Who
3 tests and verifies? We can discuss this further, but as a
4 starting point we still are of the opinion that HERS
5 Raters can do these tests. However, ATTs may wish to do
6 the work.

7 So cost impacts. The baseline conditions are
8 the same as reported during the stakeholder meetings as
9 other proposed conditions, and with a variable being that
10 the indoor air quality compliance is to the new 62.2
11 Standards and California amendments.

12 Incremental costs for single-family, electric
13 fans, \$8, kitchen hood compliance, estimate \$50 for their
14 verification and the increased MERV rating for air filters
15 includes increase in the filter grill costs, estimated at
16 117 for that; so a total 175, single-family dwellings.

17 This is a really busy slide of incremental costs
18 for a multi-family. For single ventilation fans, the same
19 incremental costs. For MERV rating increase, 117, same as
20 before. For high rise ventilation strategies we have two
21 categories; two for the dwelling units and two for the
22 building, central.

23 So for dwelling unit unbalanced, estimate \$57
24 for sealing, which really is a cost that should be
25 considered part of the mandatory requirements and perhaps

1 not an incremental cost, I was thinking, but the HERS
2 lowered R test we estimate \$200 for the multi-family
3 dwelling.

4 The balanced system alternative, the equipment
5 may be quite expensive. For a heat recovery ventilation
6 system some estimates that I've seen are between 945 and
7 \$1600. But systems that utilize standalone exhaust paired
8 with standalone supply, I don't have an estimate for that,
9 but those costs are likely to be much less.

10 So for the multi-family building central
11 exhaust, there would be still be partition sealing,
12 central exhaust, shaft duct sealing, makeup air vents,
13 exhaust airflow balancing, and so the estimate for all of
14 those lumped together are 563.

15 And we need to generate a similar estimate for
16 multi-family building, central balanced systems. We
17 haven't done that yet. The energy impact of ventilation
18 rate changes is shown in this graph. The gray line is the
19 -- corresponds to the percent change on the right column.

20 It's interesting I think that in one climate
21 zone there's an energy improvement. But for the most part
22 it's -- what do you think the median is, Dave, is about
23 three or four, something like that?

24 MR. SPRINGER: That's about right.

25 MR. MILLER: Okay. This is an extract from a

1 report from Western Cooling Efficiency Center that did
2 central shaft sealing and some Energy Plus modeling, and
3 determined some savings that are available for sealing
4 those exhaust shafts. So that's one part of our proposal
5 that is an energy savings feature.

6 Benefit to cost ratios are not being performed
7 for indoor air quality measures. We are expected to
8 report the energy impacts, the indoor air quality impacts
9 and what's the third item. Think of it later.

10 So the energy savings, neutral or negative,
11 except for multi-family building shaft sealing, CBECC
12 analysis used 2019 case measures, other than these IAQ
13 proposals, including assumed use of 62.2 2016 ventilation
14 rates and the California amendments.

15 Any energy penalty for increased ventilation
16 airflow rate included in the benefit cost calculations of
17 other 2019 case measures included these features that
18 we've just talked about. And this is a Table of Values.
19 So I'm at the end of my talk here.

20 These are Web resources, and here's contact
21 information. Feel free to contact me if you want to talk
22 about these things. I kept that picture. I liked it.
23 Okay. So are we going to do questions now? Okay.

24 How -- what's the format? So anyone in the
25 audience have a question that they want to step up to the

1 mic and speak to us.

2 MR. RAYMER: Bob Raymer with CBIA. We're just
3 seeing this for the first time. So we're going to need
4 some time to absorb it, and I'm assuming you'd want
5 comments back in, what, two to three weeks?

6 MODERATOR BOZORGCHAMI: Yeah, hi. This is
7 Payam. June 23rd is what we want comments back for
8 today's meeting.

9 MR. RAYMER: Okay. Just, once again, we'd like
10 to give you some comments now, but I'm having a hard time
11 understanding the actual cost impacts and whatnot. I can
12 tell you the assumption that, for particularly multi-
13 family, that the renter may give extra credit or extra
14 desire to rent a unit with this as opposed to one not.

15 This is going to be way down the line of the
16 decision-making things that happen. Unfortunately, as
17 you're probably well aware, we're having a massive
18 affordability problem, particularly in rental stock these
19 days.

20 And it would be nice to have a lot of new units
21 coming online, but that's not really the case. So I don't
22 know if that's going to fall into this. Another issue
23 that I had as you were making the presentation, we've
24 found through your testing that the occupants aren't
25 opening the windows like we had assumed they were back in

1 the '80s and '90s.

2 Are we assuming that they're going to be keeping
3 the air filters clean, you know, doing that every four to
4 six months? So that would be something else that we don't
5 know if that's happening. Once again, we'll get comments.

6 MR. MILLER: All right.

7 MR. STONE: Nehemiah Stone, Stone Energy. A
8 couple things. This looks like really good work and I'm
9 glad to see that we're paying a little more attention to
10 air quality. I think also, though, that it's time to
11 start thinking about actually guaranteeing good air
12 quality, rather than guaranteeing that you meet ASHRAE
13 62.2.

14 If the -- and there's going to be a lot of cases
15 where you can meet 62.2 and you're still not getting good
16 air quality. And so if we had systems where the air
17 quality was being sampled and the ventilation was
18 appropriate to whatever moisture conditions or CO, CO₂,
19 particulate matter, whatever, was controlled on that
20 basis, we would have -- we could get better indoor air
21 quality for people.

22 The other thing related to what Bob said. I'd
23 like to remind you that in the last Standards update the
24 UCLA Anderson Center did an analysis showing that
25 increased cost of construction has absolutely nothing to

1 do with housing affordability, that if FDIA were to say
2 that you're hurting the profits of builders by adding
3 costs, that would be honest.

4 Saying that we're hurting affordability is not.
5 There's a -- I would encourage people to go back and read
6 that study that's in the record supporting the 2016
7 Standards. Thank you.

8 MR. HODGSON: Jeff, a couple questions. Mike
9 Hodgson with Consol. You quoted the Offerman Study back
10 in 2009 that showed formaldehyde was in residential
11 construction.

12 MR. MILLER: Yes.

13 MR. HODGSON: And that kind of what triggered
14 the requirement for ASHRAE 62.2.

15 MR. MILLER: Yes.

16 MR. HODGSON: So are there studies on the record
17 that have shown that ASHRAE 62.2 has reduced the issue of
18 formaldehyde in new construction or does it still exist?

19 MR. MILLER: I think it's being studied right
20 now again. The LBL is studying that again. I don't think
21 they're finished.

22 MR. HODGSON: I'm sorry. It's -- I know LBL's
23 studying it, but is there anything on the record that says
24 it works?

25 MR. MILLER: I can't answer that. I can

1 investigate and respond --

2 MR. HODGSON: I think it's interesting that --

3 MR. MILLER: -- at a later time.

4 MR. HODGSON: Right -- we're kind of moving down
5 this road that I'm sure ventilation is incredibly
6 important and we're doing it for a reason, but we don't
7 know whether that reason really works. So be good for
8 getting studies on the record --

9 MR. MILLER: Right.

10 MR. HODGSON: -- to say ASHRAE 62.2 works and as
11 we improve it, this is what we're going after.

12 MR. MILLER: I think Dave did present a slide at
13 the stakeholder meeting that provided some preliminary
14 results from this kind of study that LBL is conducting,
15 and it showed that most of the homes were in fact meeting
16 the -- they were meeting the airflow rate, but I don't
17 know if --

18 MR. HODGSON: Are they meeting the formaldehyde
19 -- are they reducing formaldehyde in households?

20 MR. MILLER: I don't know about the formaldehyde
21 part, yeah.

22 MR. HODGSON: Okay. So I mean, that's the kind
23 of stuff that would be more practical if we talked about.

24 MS. GROEBUS: Sure. This is Marian Groebus.
25 It's a good question. I know that the Home Study is

1 studying that, and I know one problem that they're having,
2 actually, is trying to -- since they have different
3 methods compared to what the Offerman Study did that I
4 know that the results are not comparable.

5 I know some of the preliminary findings were
6 that formaldehyde continues to be an issue, but that was
7 just on I think those preliminary studies based on just a
8 few homes. So I think we have to wait until the Home
9 Study is published and all the data is in. But yeah, I
10 agree it's better to look at the IAQ impacts.

11 MR. HODGSON: Right. I'm wondering if we should
12 kind of wait on additional IAQ requirements until we
13 actually understand the impacts, too. So I mean, this is
14 kind of an issue of, you know, we're regulating before we
15 know what the answer is.

16 MR. SPRINGER: If you drill down into the data
17 from the Offerman Study you do see a correlation between
18 ventilation rate, measured ventilation rate and
19 formaldehyde concentration.

20 MR. HODGSON: Yeah. So those are the kind of
21 studies that we need to -- or comments that we need to
22 have on the record, since we're kind of in a defensive
23 position in the building industry, trying to defend
24 against indoor air quality and issues of indoor air
25 quality.

1 So anyway, I would encourage that. If the
2 Energy Commission was to promote indoor air quality, then
3 they should actually have studies that say what they're
4 doing works. Second thing is, on multi-family you're
5 proposing a lot of regulations on sealing multi-family.

6 And from the HERS industry we've had a lot of
7 issues with trying to get air tightness in multi-family.
8 So do you have examples on how to seal a central shaft in
9 a high rise building for \$563?

10 MR. MILLER: You mean case studies?

11 MR. HODGSON: Case studies or can you just show
12 us, you know, exactly what you did to do that? How long
13 did it take? How did you do the blower door? What
14 equipment did you use? I mean, if you're doing blower
15 doors in high rise, I have no idea what you're doing.

16 MS. GROEBUS: I'll just parse out, I guess, two
17 different things. So I think there was the -- I mean, the
18 sealing the shafts is a different -- that's the central
19 exhaust shafts and that's a different measure from sealing
20 the actual unit.

21 So we help provide the blower door estimate so
22 that's sealing the individual -- that's testing of the
23 individual units, and that we heard was about \$200 and
24 maybe up to 250 or 300 if it's a small number of units and
25 in larger units --

1 MR. HODGSON: But you sealed all the party walls
2 inside and out?

3 MS. GROEBUS: That is not for the sealing. That
4 is for the test. That's for the blower door test.

5 MR. HODGSON: Okay. So how did you seal the
6 party walls?

7 MS. GROEBUS: The party walls is, you know,
8 sealing at the interfaces between baseboard and the walls,
9 around electrical outlets, around all of the electrical
10 penetrations, plumbing penetrations, and the estimate to
11 seal those party walls, we did not provide the estimate
12 for that.

13 So I'll have to go back to the Energy
14 Commission. I can only provide you with, you know, where
15 we got the blower door results, and that was from
16 interviewing some -- sorry -- the blower door costs were
17 from interviewing some Raters.

18 MR. HODGSON: So most of our experience doing
19 multi-family is in low rise residential, and Nehemiah, you
20 can probably add comments to this, but it's very difficult
21 to seal up a multi-family building.

22 And so I'm just going to comment more on the
23 multi-family side and trying to seal party walls and
24 getting that done. Basically, from the compliance side
25 the industry has said, we can't do this so we're not going

1 to take credit. So we move on, right?

2 So that's one of the things, if you're thinking
3 that sealing a single-family unit is, you know, \$200 for
4 the test, that's great. I'm not arguing with that cost.
5 But sealing the unit's going to be difficult and it's
6 going to be costly.

7 So I'd like to see how you did it and what the
8 results of how you do it. Then when you move to a high
9 rise building and you're talking about shafts, especially
10 central shafts would have a lot of equipment in them, I'm
11 very curious on how you're going to seal those, because I
12 don't think it's possible to do.

13 I shouldn't say it's not possible. It's not
14 reasonable to do. So if you have examples on how you do
15 that, great. That's on how the actual physical sealing's
16 going to happen, then show me how you're going to test
17 that.

18 And I don't know who tests that and I don't know
19 what equipment you use to test that, because the equipment
20 in the field that we use for multi-family does not allow
21 us to go to that large of a volume.

22 MS. GROEBUS: I do want to respond to the
23 comment about at least sealing the individual unit.

24 MR. HODGSON: Um-hum.

25 MS. GROEBUS: And that has been part of the

1 Energy Star High Rise Program and the LEED for Homes
2 Midrise Program and the LEED essentially -- LEED new
3 construction when it's applied to high rise. Those
4 programs have all required that individual blower door
5 test that Jeff proposed, the .3 CFM50 --

6 MR. HODGSON: Have they been in the California
7 market with the sprinkler?

8 MS. GROEBUS: That has been in the California
9 market, yeah.

10 MR. HODGSON: With sprinklers?

11 MS. GROEBUS: I mean, there's a certainly a lot
12 of homes that -- or multi-family units that have been
13 certified under Energy Star High Rise or LEED for Homes
14 Midrise in the California market.

15 MR. HODGSON: With sprinklers?

16 MS. GROEBUS: I can't say yes or no in terms of
17 sprinklers, but I would assume that if sprinklers are
18 required for Fire Code --

19 MR. HODGSON: They are.

20 MS. GROEBUS -- and they -- okay -- then yes,
21 there are multi-family buildings that have been certified
22 under those programs, and those have required those --
23 that blower door test for several years.

24 I worked on the LEED for Homes Program starting
25 in 2010, and that requirement was put in, in 2010 for the

1 Midrise Program. So it's been --

2 MR. HODGSON: Right.

3 MS. GROEBUS: -- been there for a while.

4 MR. HODGSON: So the sprinkler requirement, Bob,
5 is 13. When did sprinklers go into --

6 MR. RAYMER: For single-family it went into
7 effect in 2011. For multi-family it went into effect in
8 1988.

9 MR. HODGSON: Okay. So that's the question, is
10 -- I mean, and we'd just like to see examples, because we
11 have -- I'm sure it's possible to do, but it seems to be
12 very difficult to do.

13 MR. MILLER: So, um, Bret Singer is on the
14 phone, and Bret, did you want to speak? Speak up.

15 MR. SINGER: Am I unmuted yet?

16 MR. MILLER: Yes.

17 MODERATOR BOZORGCHAMI: Yes, we can hear you.

18 MR. SINGER: Oh, good. Okay. I was just
19 looking at the muted/unmute. Just one small correction.
20 We will be able to compare the formaldehyde measurements
21 that we are obtaining in the HNGH Study, the Healthy New
22 Gas Homes Study with results of that Offerman Study, and
23 so far the one caveat to all these comparisons is we have
24 to make that adjustment for air exchange rate.

25 So I think as a group we're seeing lower air

1 exchange rates than Bindit (phonetic) saw. We saw a much
2 wider band, including some very low ones in the high
3 formaldehyde that didn't have mechanical ventilation.

4 Though ours are kind of in a narrower band,
5 there's a couple that are -- we're making sure that the
6 ventilation system's operating in all the homes, but we're
7 still analyzing that data. We only have data processed
8 from about 15 homes.

9 We've got about another half-dozen completed
10 that we're still processing the data and we're looking at
11 the context of the actual air exchange rate to be able to
12 make those comparisons. So I know it's frustrating.

13 We had intended to be -- have that data by now,
14 but it was a field study with lots of complications that
15 pushed the schedule back. So we're racing as fast as we
16 can to get that data in.

17 MODERATOR BOZORGCHAMI: Question. Do you --
18 Bret, do you know when that study will be completed?

19 MR. SINGER: Yeah. The data collection should
20 be completed at the end of this calendar year. And we are
21 trying our best to process and analyze the data as they
22 come in. So the -- at least the preliminary results with
23 all the data for something like formaldehyde we expect to
24 be completed shortly thereafter. So it may be the first
25 quarter of 2018.

1 And you know, we're putting out interim results
2 as we have them, but right now, at least as to the
3 formaldehyde, we have the actual measurements for the
4 first 16 houses, but the processing of the air exchange
5 rate, you know, that type of question is much more
6 complicated and we're still kind of verifying that.

7 MR. MILLER: Thanks, Bret.

8 MR. TUCK: Hi. Bob Tuck, with Atlas Heating and
9 Air-Conditioning in Oakland. I also am associated with
10 Cal SMACMA and serve on the National Steering Council for
11 Residential Contractors for National SMACMA.

12 Question on the kitchen hood vent ventilation
13 verification, first of all. I think it was mentioned that
14 the HERS verification would not be required for -- of some
15 rating would not be required for hoods over 400 CFM.

16 MR. MILLER: That's if the lowest speed for the
17 hood is greater than 400. That would make it something
18 more than the usual residential size system.

19 MR. TUCK: Right. So there'd be no HERS
20 verification of some rating for those higher airflow
21 kitchen hoods.

22 MR. MILLER: Correct. But I believe we would
23 still expect the kitchen to comply with a range hood that
24 could operate greater than 100 CFM, and less than three
25 sone.

1 MR. TUCK: Okay. So just one observation on
2 that. Many of the newer homes, single-family, are using
3 hood combinations with an indoor hood and the fan on the
4 exterior, and I don't believe you're going to find any
5 manufacturer some ratings that would allow even an HVI
6 verification on a sticker that would allow the HERS Rater
7 to come in and verify some ratings of not to exceed three
8 when you have that combination, which is pretty common
9 these days.

10 You've got an exterior blower that may or may
11 not have a rating on it, and you have a hood shell with a
12 grease filter and controls that will have no rating
13 because it doesn't have an interior blower. So you'll
14 have to kind of figure out that little snafu before you go
15 to that level.

16 And I think it was also mentioned that for
17 makeup air. Is that MERV 13 filter rating going to apply
18 for kitchen hood ventilation makeup air also, aside from
19 the whole house ventilation?

20 MR. MILLER: Not that I am aware. We're talking
21 about ventilation fans, not makeup air.

22 MR. TUCK: Okay.

23 MR. MILLER: Though makeup air is --

24 MR. TUCK: So I thought there was a mention
25 there that the MERV 13 was going to be required on makeup

1 air on supply ventilation.

2 MR. MILLER: On, yeah, supply ventilation and
3 the supply side of balance --

4 MR. TUCK: Okay. Not makeup. Okay.

5 MR. WILCOX: I think that the requirement for
6 that are --

7 MR. MILLER: Microphone's not on, Bruce.

8 MR. WILCOX: I think the higher filtration is
9 required on whole house continuous ventilation systems,
10 not on kitchen ranges.

11 MR. MILLER: Right. He was just asking --

12 MR. TUCK: Not on makeup air for a large kitchen
13 hood exhaust.

14 MR. WILCOX: (inaudible).

15 MR. TUCK: Okay, because that would be a
16 problem. Moving to the MERV 13 requirement for low rise
17 residential, certainly that may happen, eventually trickle
18 down to alterations and replacement of equipment.

19 But currently, that's only going to apply to new
20 construction, low rise residential and high rise multi-
21 family. And then alterations adding more than 1,000
22 square feet, but not on change-out of equipment, change-
23 out in residential?

24 MR. MILLER: Correct. Well, the filter
25 requirement is applicable only to newly constructed

1 buildings. For alterations, the way the language is
2 written it's when you replace a piece of equipment, the
3 item that you replace must meet the current Code.

4 And so I guess, you know, you could make the
5 argument that if you replace the air filter it's got to be
6 a MERV 13. I don't think that's what we intended.

7 MR. TUCK: Okay.

8 MR. MILLER: Or would intend, but -- so that's
9 the answer I have for right now.

10 MR. TUCK: Because on retrofit in the industry
11 that would be a pretty big problem, because maybe 80
12 percent of the installations currently out there because
13 of the fact that furnaces are often in the attic or the
14 crawl space in California, the builders put filter grills
15 in.

16 And most of the filter grills from the '60s,
17 '70s, '80s, '90s and even more recently are badly
18 undersized. So if on the retrofit you're required to go
19 to MERV 13 your system performance is really going to get
20 hurt. We've already got an undersized filter grill and
21 you throw a -- especially a one-inch MERV 13 in there, it
22 could have a lot more than the five percent maximum as to
23 the methods you've got in your literature right now.

24 MR. SPRINGER: I think the way we've been
25 thinking about it is that replacement of equipment and

1 ducting would trigger that requirement, but --

2 MR. TUCK: Yeah. Yeah. So still going to be an
3 issue because a lot of these return airs that are going to
4 filter grills, they're not all accessible. So upsizing
5 the ducting and upsizing the filter grill, just something
6 to look out for.

7 And I think that's about it from the practical
8 viewpoint of a contractor. We deal with maybe 600 change-
9 outs a year and do a lot of high-end remodel work, which
10 would be over 1,000 square feet of additional square
11 footage to a single-family home, and which all of these
12 would be triggered by that, also. Okay. Thank you.

13 MR. MILLER: We're going to go to some online
14 questions. I'm going to call on Mr. Roy first. Go ahead
15 when you're ready.

16 MR. ROY: Yes. Hello. Can you hear me?

17 MR. MILLER: Yes, we can.

18 MR. ROY: Okay. Fantastic. So I have a
19 question. I'm still going through the entire case report
20 on the residential indoor air quality, but one of the
21 sentences in there says, "A requirement for higher
22 efficiency filters may increase the difficulty of
23 obtaining a lower efficacy."

24 I know that in the past during the Title 24
25 stakeholder workshop meetings .4 watch per CFM has been

1 considered and will probably be discussed at some point
2 during these pre-rule-making workshops. Has the impact of
3 the higher MERV proposal here been evaluated on the fan
4 efficacy, even the current .058 watts per CFM requirement,
5 to see if there is an adverse impact there?

6 MR. MILLER: I think the best answer is that the
7 way the requirements for filter sizing are described in
8 the Standards, the expectation is that you would know the
9 filter -- characteristics of the filter and design your
10 system to accommodate that.

11 And so I think, really, it's not part of that
12 argument. Another question would be whether the .4 is the
13 right number, which I think is an entirely different
14 discussion. I couldn't really speak to that at this time.

15 MR. SPRINGER: Yeah. The current number we're
16 proposing is .45, which is based on testing of two typical
17 furnaces with ECM motors that came in at or a little below
18 .4, at .7 inches external static pressure. So I think .45
19 is a comfortable number, and Jeff, I support your comment
20 that, you know, it's about filter sizing. That's the main
21 issue.

22 MR. MILLER: Okay. Could --

23 MR. SPRINGER: This is Dave Springer.

24 MR. TUCK: Bob Tuck again. If I could just jump
25 in on this on the high rise application for the MERV 13

1 filters. I forgot to mention that currently, in one of
2 the more common equipment combinations in high-rise
3 residential would be in many cases multiple small air
4 handlers, either water source heat pump or other on these
5 high rise buildings.

6 Very often, they use the plenum above a drop
7 ceiling as the return air without duct work. And the air
8 handler itself is designed -- most these air handlers are
9 designed only for a one-inch filter. So you're going to
10 run into this fan efficacy issue on the high rise, because
11 these air handlers can't overcome a whole lot of static
12 and you can't move up to a two-inch filter, which would
13 pretty much take care of that problem, I think in most
14 cases, if you go to a two-inch pleated filter.

15 But you don't have that ability in the
16 marketplace right now in many of these equipment
17 combinations. You're stuck with a one-inch filter.
18 You've got a pretty low fan performance and you're going
19 to ask them to go to MERV 13. I think you're going to
20 butt heads, again, well beyond the system, you know,
21 affect than you've estimated.

22 MR. SPRINGER: This is Dave Springer. So you
23 don't believe that there's adequate service area, then, in
24 those situations to provide filtration?

25 MR. TUCK: In many cases you're limited by the

1 manufactured rack that is part of the air handler itself.
2 It's going to take an x size filter that's going to slide
3 in there, and you don't have, a, a lot of room, and you
4 don't have a ducted system where you could transition to a
5 larger filter size and then back to your return duct work.

6 It's just either a rack right in the face of
7 that air handler as you open up the closet or cabinet, or
8 in a home situation, or up flow, down flow or a
9 horizontal, it's just a slot in the end of the air
10 handler, and that's still fairly typical among all the
11 major manufacturers. So you have a problem by 2020
12 getting past that one.

13 MR. MILLER: Going to another question online.
14 Frank, I'm going to unmute you now. Go ahead and state
15 your name and association before you make your comment.

16 MR. STANONIK: This is Frank Stanonik with AHRI.
17 So in the discussion regarding range hoods, I'm just
18 curious, has there been any assessment as to what a
19 typical daily usage is of a range nowadays in California?

20 I appreciate that you've looked at what the
21 emission rates might be, but I didn't really see anything
22 that explained that, okay, but what's the -- let's say
23 typical exposure that might occur over the course of a day
24 in a home.

25 And a second part of the question is, does that

1 consideration factor in what you're requiring as the --
2 I'll call it the general whole house ventilation rate.

3 MR. MILLER: I wonder if our researchers would
4 like to answer that question. Peggy, you or Bret? All
5 right. You're unmuted, if you'd like to speak.

6 MR. SINGER: Yeah. Thank you, and if Peggy
7 wants to jump in, I'm happy to also defer to her. She
8 knows quite a lot about both. But there's a question
9 about, if you know anything about range use and some of
10 the emissions and exposures associated with it.

11 A couple of answer to that. I'd say from a
12 population representative sample we don't have very
13 current data on cooking (phonetic). In California the
14 last one we have is from kind of before 2010, with a
15 residential energy survey where we asked, was that
16 practical or how often they used their range to cook.

17 But there are a couple other data points before
18 you go on. In general, exposures from cooking vary quite
19 a lot. Certainly, the particulate matter depends a lot on
20 what you cook and how you cook it, in addition to whether
21 you use your ventilation.

22 One of the data points we have on that -- two
23 data points. We're looking at the -- for gas burners,
24 natrium dioxide in gas burners. We did some modeling work
25 and also some experimental work, and it all kind of show

1 that if you use natural gas burners without using kitchen
2 ventilation, without using any kitchen ventilation you can
3 fairly frequently get natrium dioxide exposures that
4 exceed the outdoor ambient air quality standards.

5 Now, as you have bigger homes you cook less, and
6 certainly, when you use your kitchen ventilation then that
7 gets cut down a lot. And there's quite a lot of data
8 showing high particle levels in homes where cooking
9 happens and when it happens.

10 Across the population cooking is probably the
11 second most -- second largest contribution to -- from an
12 indoor source for particle matter. There's obviously the
13 outdoor particles. These standards are taking care of the
14 outdoor particles by insuring there's adequate filtration
15 for the supply air, but for the indoor generated particles
16 you need to use ventilation, and cooking is a big source
17 of the indoor particles.

18 So there's some data that shows that. I think
19 it's in the studies that Jeff put up earlier. There were
20 some studies that addressed that issue of the kind of
21 aggregate exposure from cooking related (phonetic)
22 particles.

23 MR. MILLER: Okay. Thanks, Bret. Any followup
24 on that?

25 MR. STANONIK: There's still -- this is Frank

1 Stanonik, at AHRI again. I guess it still isn't clear to
2 me, again, obviously, with a range hood you're looking at
3 localized ventilation, right? But so let's say a person
4 that wasn't using their range hood, there is still, with
5 all the other requirements either being proposed or
6 existing, there is still ventilation going on within the
7 kitchen because it's part of the house.

8 And I guess my question was, is that factored in
9 when you're looking at what you might require the range
10 hood to do? Or is it irrelevant? I'm not -- clear to me.

11 MR. SINGER: It's certainly not irrelevant, but
12 we have to consider the general ventilation requirement,
13 the dwelling unit requirement is kind of a base
14 ventilation for catch-all pollutants, and it's more
15 focused with things that are being emitted.

16 Certainly, the pollutants from materials,
17 products you use, et cetera. Cooking is a special case,
18 because you usually generate a whole lot of pollutants at
19 once, and so slowly taking those pollutants out of the air
20 through ventilation is not adequate and not effective
21 enough.

22 You need to remove them quickly and efficiently,
23 and the easiest way to do it is to remove them, and the
24 most efficient way to do it is to remove them at the
25 source. The amount of general ventilation that you would

1 need to adequately deal with that, with the kitchen
2 problem, would be actually much higher. So the amount of
3 ventilation that's put in the Standards does not deal with
4 things like the big slug of pollutants that come out when
5 you cook, or when you use your gas burners.

6 It's really there to deal with, you know, the
7 more spread out emissions and things from products. Just
8 another note, you know, this is not targeting gas.
9 Electric burners do emit pollutants, as well, but I think
10 you got to certainly put gas on the air side and every
11 other gas appliance is directly vented, right. So we have
12 -- we require --

13 MR. MILLER: No.

14 MR. SINGER: When I say gas is -- I'm sorry.
15 It's vented meaning there's vents -- the exhaust from the
16 appliance has to be vented out of the house. Water
17 heaters, furnaces, gas fireplaces in California, they are
18 all vented without the person having to do anything.

19 The only gas appliance that's left in the home
20 that is -- where the exhaust can come into the home is the
21 kitchen one, and that kitchen ventilation is basically the
22 ventilation or the removal of the pollutants from that
23 open burner.

24 So the kitchen ventilation is actually a very
25 important requirement of the Standards.

1 MR. SPRINGER: This is Dave Springer. You know,
2 the ASHRAE Standards back to 2007 required that hoods be
3 rated at 100 CFM, three sones. So this measure is really
4 just a compliance verification measure, not a change in
5 the Standards.

6 MR. MILLER: Anyone else on it? Yes. We will
7 go to George, and then I'll meet you now -- actually, one
8 follow up question. Bret, were you saying that larger
9 houses cook less? There's a clarification question
10 online.

11 MR. SINGER: Well, we don't know that. You
12 know, it's certainly possible that if you have a larger
13 house you just have more dilution volume. So cooking the
14 same egg in a 600 square foot apartment versus a 4500
15 square foot house is going to create a different
16 concentrations because there's a much larger volume, but
17 it's the same emission.

18 And cooking does scale with the number of
19 people, right, but the same cooking event would produce
20 lower concentrations in a larger home. It's just the
21 basic physical consideration. The Standards don't really
22 try to address that because, you know, it doesn't get into
23 the level of -- this is how I interpret it -- the level of
24 trying to predict how people are going to use their small
25 home versus their large home.

1 It just recognizes the fact that there's a point
2 source of pollutants that is most efficiently address, and
3 that's efficiently for both health and for energy
4 purposes, because it's much more efficient for energy
5 purposes to remove the pollutant at its source than to try
6 to remove a lot more air at lower concentrations.

7 So we don't know about that great question you
8 asked, but it is basically the same requirement for all
9 the homes.

10 MR. MILLER: I think that answered it, actually.

11 MR. SINGER: From a kitchen --

12 MR. MILLER: Thank you, Bret.

13 MR. SINGER: Yeah.

14 MR. MILLER: That answered our online question.
15 Okay. So we'll go to our next online question. George,
16 I'm going to unmute you now. Please state your name and
17 association before you make your comment.

18 MR. NESBITT: George Nesbitt, HERS Rater. Can
19 you hear me?

20 MODERATOR BOZORGCHAMI: Yes.

21 MR. MILLER: Yes.

22 MR. NESBITT: So I'm going to quote from a book.
23 "We still hear the standard line that indoor air pollution
24 is caused by efforts to weatherize and tighten housing.
25 In fact, energy efficiency and indoor air quality need not

1 necessarily force a tradeoff. The single major factor
2 affecting indoor pollutant levels is the pollution source,
3 not the ventilation rate."

4 That comes from, Residential Indoor Air Quality
5 and Energy Efficiency, written by Peter DuPont and John
6 Morrill, back in 1989. Honestly, for the most part I
7 don't think everything I've learned in the past 15 years
8 has necessarily -- has contradicted that.

9 Overwhelmingly, building sciences, building
10 performance people agreed, build tight, ventilate right.
11 We can argue over what ventilate right is, but mostly, we
12 don't argue about the building tight. So we -- you know -
13 - a leaky building with random, uncontrolled leaks is a
14 penalty.

15 It's an energy penalty. It's a comfort penalty,
16 and it's possibly a indoor air quality penalty, although I
17 do say that -- I would say that the link between how tight
18 a house is and how leaky is not necessarily a gauge of
19 indoor air quality.

20 So you talk about on the ventilation rates for
21 62.2, basically giving a blower door -- by doing a blower
22 door, giving you credit and allowing you to reduce the
23 ventilation rate, I'd argue that's not a credit. It's a
24 penalty.

25 It's an energy penalty, a comfort penalty and

1 maybe an indoor air quality penalty. If we're assuming
2 the average new home is 5ACH50, and we're letting you do a
3 blower door test, and if it's leakier we're going to let
4 you ventilate less, well, that's the wrong message.

5 Plus, it's a message that comes too late. By
6 the time you can blower door most buildings and know what
7 the air tightness is, you've already had to have installed
8 fans and ducts. So now you're trying to change
9 ventilation rate after the fact.

10 So I think we need to eliminate that
11 possibility. We either should set the ventilation rate on
12 our assumed 5ACH50 or actually it should probably be
13 around four. I think most studies have shown new homes
14 are around that neighborhood.

15 I've tested a lot of new multi-family that's in
16 the neighborhood of 3ACH50. You know, some other things
17 we know, generally, a tighter building allows the
18 mechanical ventilation to work more properly. Other
19 things, a tight building allows you to filter and reduce
20 outdoor air pollution.

21 I'm going to kind of bounce around. So one of
22 the proposals is the 13 MERV filter on the central system.
23 Well, I think one of the problem with that is as we build
24 more energy efficient houses and as the industry continues
25 to refuse to believe load calcs and oversize equipment,

1 not only is the demand of the building requires less run
2 time, but the equipment is not going to run.

3 You have heating only climates without air-
4 conditioning, and so we're not running the central fan in
5 the summer to improve the indoor air quality. So and in
6 the Code we have discouraged using the central fan as the
7 indoor air quality ventilation system by making it very
8 hard and restrictive to do so.

9 We also don't recognize that some people do run
10 their fans continuously, often at a large energy penalty,
11 you know, for a perceived benefit. You know, the -- on
12 the plus side, putting high rise multi-family into 62.2 I
13 think is a great move, long overdue.

14 High rise residential apartments already fall
15 under the residential domestic hot water, as well as the
16 lighting. Honestly, the building envelope should fall
17 under the residential Standards and not in the non-res
18 Standards.

19 We should expand the amount of HERS credits
20 available in high rise multi-family. I do think the HERS
21 Raters should be doing the 62.2. I think it's preferable
22 if a HERS Rater does the air tightness test on a central
23 ventilation shaft and not an ATT.

24 I think unfortunately if they are -- an ATT is
25 allowed to do it the question will be whether the HERS

1 Rater can compete with the contractor/installer who can
2 also test it. I've done actually a lot of blower door
3 testing on multi-family.

4 It is totally possible. It's a shame blower
5 door credit was removed from the Code, although I doubt
6 it's something people want to use much. It is possible,
7 and there's actually a lot of information out there on
8 sealing the central ventilation shafts, even after the
9 fact, and testing them. It's totally doable.

10 And I guess maybe the last thing is, I have had
11 no one call me for a 62.2 HERS verification under the 2013
12 Code in, what, four years now. So there's a total lack of
13 enforcement, especially on additions, alterations, but
14 probably even new construction. Thank you.

15 MS. GROEBUS: This is Marian Groebus from TRC.
16 Thanks, George. I just want to comment on one thing, just
17 in terms of the blower door test for multi-family and the
18 value of that. So there is, you know, one field study
19 that I wanted to quote, which was done on six multi-family
20 buildings. These were existing buildings.

21 So they did a blower door test before and after,
22 and they also did some tracer testing to see where the
23 leakage was coming from, and they found that essentially
24 the contaminant transfer, which would include
25 environmental tobacco smoke, was reduced by 41 percent on

1 average between the -- you know -- for those six buildings
2 after they had compartmentalized.

3 So there is a reduction of -- I mean, that was
4 unfortunately not to the .3 number. These were existing
5 buildings. It was hard to get to that value, but it does
6 show that compartmentalization does reduce pollutant
7 transfer, including for environmental tobacco smoke, which
8 is one of the, you know, big concerns for health.

9 MR. NESBITT: Yeah, absolutely. I mean, I think
10 compartmentalization in multi-family is far more important
11 than leakage to the outside. And in my testing as -- I've
12 done both high rise and low rise multi-family.

13 I've tested apartments that were under a minus
14 .50 PASCAL baseline pressure. It's because -- and some of
15 that -- a lot of that has to do with the (indiscernible)
16 on exhaust only ventilation. So these buildings really
17 suck a lot.

18 And we really need to pay a lot more attention
19 to makeup air. It's just, we can't just suck all this air
20 out of the building and we really have to provide makeup
21 air.

22 MR. SPRINGER: Okay. Are we ready to move on.
23 Is there another?

24 MR. MILLER: Yeah, there are some more. Thank
25 you.

1 MR. SPRINGER: Thank you, George.

2 MR. MILLER: I'm going to go ahead and read a
3 comment. So I'm going to go ahead and read a comment from
4 Roger Hedrick. "The scope change between Standard 62.2
5 and 62.1 moved all the dwelling units into the scope of
6 62.2, but it also moved all the common areas in multi-
7 family buildings, low rise and high rise, into the scope
8 of 62.1. How is that change being addressed?"

9 MR. SPRINGER: Well, we're very clear on what to
10 do with the dwellings themselves. When it comes to how to
11 write the regulations for the remainder of the building,
12 we're just in the preliminary part of how to organize
13 Section 120.1, but we intend to make it clear.

14 We understand -- what you said is true, part of
15 the building is regulated by 62.1, or could be. It's
16 addressed by that Standard, and inside the dwellings it's
17 addressed by 62.2. We're aware of it and we'd be open to
18 any comments about a good way of going about it.

19 We'll be likely sharing some graph language and,
20 I don't know, perhaps some preliminary sharing with
21 stakeholders. Roger, maybe you would help us with that,
22 yes?

23 MR. MILLER: I'm going to go ahead and call on
24 Rob. I'm going to -- I'll need now, go ahead and state
25 your name and association.

1 MR. PENROD: Rob Penrod, Villara Corporation.

2 You got me?

3 MR. MILLER: Yeah, Hi, Rob.

4 MR. PENROD: Okay. The MERV 13 filter cost
5 analysis for the single-family residential, I question the
6 \$117 when you consider all the impact that that filter
7 brings. As Dave mentioned, you obviously are going to
8 increase filter sizes, and probably deck sizes as well, to
9 accommodate that, if not adding filters, more filter --
10 return filters to the room.

11 So you put that on top of going to a .45 watts
12 per CFM you're really adding some challenges on the design
13 side that are doable, but not for \$178. And then I would
14 add, I brought this up at one of the earlier ones, your
15 CFM per ton, 350 CFM per ton requirement, it really should
16 be changed to BTU, because we know all five-ton units
17 aren't created equal.

18 Some of them are as low as 54,000 BTUs, and it
19 makes it very challenging, even with extra 13 ECM motors
20 to meet that requirement on some of these systems. So I'd
21 encourage you to rethink how you -- your requirement
22 there.

23 MR. MILLER: Bruce, do you have a response?

24 MR. SPRINGER: Rob, this is Dave Springer. So
25 would you -- what value of BTUs would you use like the

1 ASHRAE -- I mean -- the 95 -- the outdoor rated condition
2 or, do you know what?

3 MR. PENROD: Yeah. Just whatever they're --
4 yeah, just their outdoor total capacity, you know, that's
5 typically how they're rated. And so, like I say, it can
6 be from 54 to 58. It's rarely 60,000 BTUs.

7 So if you did it per the rated BTU it gives us a
8 little leeway on those five-ton, and even some four-ton
9 units, as well, to get into those lower watts per CFM and
10 still maintain the 350 CFM per ton requirement that you
11 have. And like I say, make it a CFM per BTU.

12 MALE SPEAKER: We'll take it into consideration.
13 Thank you.

14 MR. MILLER: Okay. I'm going to go ahead and
15 read another comment. This comment from Steve Taylor.
16 "The balanced ventilation within 10 percent is not
17 realistic when you consider that toilet exhaust fans and
18 kitchen exhaust fans are intermittent. How does the
19 system stay balanced when those fans may be on or off? A
20 typical two-bedroom condo may have zero CFM, 50 CFM, 100
21 CFM, 300 CFM hood and 400 CFM hood plus toilets exhaust
22 rate.

23 "Supply fan would have to be variable speed with
24 complex control systems and interlocks to all the fans.
25 Very unrealistic. Please read this comment." And that's

1 from Steve Taylor.

2 MR. SPRINGER: Marian, did you want to --

3 MS. GROEBUS: Yeah, that's a great comment. I
4 think the proposal was to balance the system, you know,
5 under a certain set of conditions, recognizing that it's
6 not going to stay within 10 percent, particularly if it's
7 done through a manual balancing system, or through fixed
8 orifice plates or something.

9 You know, we recognize it's not going to stay
10 within that range, but just to balance it under one set of
11 conditions so that it's -- you know -- works pretty well,
12 and then based on our interviews, you know, our
13 understanding that it's -- the system -- once you balance
14 it within one set of conditions, you know, yes, things
15 will change, yes, it's not going to stay within 10 percent
16 always, but it's still going to work reasonably well and
17 would better than if you just don't balance it at all.

18 MR. WILCOX: Bruce Wilcox. I agree with that
19 and I think the intention is that the continuous
20 ventilation fans would be balanced within 10 percent and
21 you wouldn't have to include the kitchen exhaust or
22 bathroom exhaust fans in that balance, that those operate
23 independently.

24 MR. MILLER: Right. Thanks, Bruce. Okay. So
25 we've exhausted the comments. If there are no other in

1 the room, then I think we're ready to move to the next
2 topic, and we're out of time, as well, so.

3 MODERATOR BOZORGCHAMI: I think we're going to
4 take a five-minute break real quick.

5 MR. MILLER: Thank you.

6 MODERATOR BOZORGCHAMI: So get Mark ready.
7 Thank you.

8 (Off the record at 11:10 a.m.)

9 (On the record at 11:10 a.m.)

10 MODERATOR BOZORGCHAMI: Now, so Mark Alatorre is
11 going to be talking about Nonresidential air -- Indoor Air
12 Quality.

13 MR. ALATORRE: Good morning. I'm Mark Alatorre.
14 I'm an engineer in the Building Standards Development
15 Office, and I'm going to be presenting the topic of
16 Nonresidential Indoor Air Quality, if I can get the slides
17 to move. There you go.

18 So first off, I want to acknowledge the
19 California Utilities Statewide Codes and Standards Team,
20 and especially the case authors, Ryan Sit, who is here up
21 at the table with Pam and Anna Brannan, both from Integral
22 Group.

23 So ventilation indoor air quality, well, in
24 general the purpose is to dilute contaminants, ventilation
25 rates that are currently called out in 62.1. They address

1 occupant by effluents and space building material,
2 equipment or furniture off-gasing.

3 In the commercial world there's many space types
4 and many space uses, you know, and that's why we are
5 trying to go to a standard that has a more expansive
6 occupancy table. To reiterate what was presented at the
7 stakeholder meetings, there is a connection between indoor
8 air quality and human health.

9 And California Air Resources Board concluded in
10 2005 that the impact of indoor pollutants on health was
11 far greater than outdoor pollutants, and they had a link
12 to these various illnesses. Also, these studies found
13 that there is a benefit to indoor air quality,
14 particularly on productivity, and it would outweigh the
15 economic impact of increased energy use.

16 A little background. The Energy Commission has
17 been requiring ventilation throughout its history. Prior
18 to 1992 it referenced ASHRAE 62. However, in 1992 the
19 Standards were updated and called out specific ventilation
20 rates.

21 However, these ventilation rates have since been
22 unchanged, and it has a limited list of occupancies and it
23 does not address exhaust or makeup air, and it only
24 specifies minimum ventilation rates for supply.

25 However, the California Mechanical Code adopts

1 ASHRAE 62.1, which does contain requirements for supply,
2 exhaust and makeup, and of course, has many more occupancy
3 types. But there is confusion in the industry as far as
4 which standard to follow.

5 I highlighted that conflicts and how to resolve
6 conflicts between Standards, which is often cited when --
7 I'll go ahead and read it -- "When the requirements of
8 this Code conflicts with the requirements of any other
9 part of the California Building Standards Code, Title 24,
10 the most restrictive requirement shall prevail."

11 That is generally how the Codes are used.
12 However, as our attorney, Matt Chalmers, mentioned in the
13 beginning, the -- that's not the case for ventilation.
14 The Energy Commission has the authority over the
15 occupancies that we regulate, which is stated in the
16 beginning of Chapter 4, Part 4 of the Mechanical Code,
17 which I also highlighted here.

18 Ventilation air supply requirements for
19 occupancies regulated by the California Energy Commission
20 are found in the California Energy Code. However, it
21 still leads to confusion in the industry. The case team
22 conducted a survey that has 34 respondents to the survey.

23 The first question was about that Section 402.1,
24 and when they asked a question, if people are familiar
25 with this passage, 80 percent of the 34 said yes. Another

1 question of the survey was, "Which ventilation air supply
2 rate calculations does the firm design to?"

3 And this was a little more mixed. Almost 30
4 percent said that they design to the Energy Code.
5 However, another 30 percent said that they -- that the
6 higher of Part 4 or Part 6, which was using that conflicts
7 -- that conflict resolution passage.

8 Another question was, "How comfortable were
9 these firms in the 62.1 multi-zone system calculation?"
10 And this was some good results. Forty percent said that
11 they were very comfortable. Another -- over 35 percent
12 said that they were somewhat comfortable, and they
13 understood the calculation and the procedure.

14 So moving into the case team proposal, they were
15 proposing the align the ventilation and indoor air quality
16 requirements of 62.1, and bring those into Title 24, Part
17 6. That would include -- or these are the -- these
18 bullets highlight the changes that would happen in Part 6.

19 So there would be an update to the minimum
20 ventilation rates, harmonization with the full ventilation
21 rate procedure that's in 62.1, revise the natural
22 ventilation requirements and revise or actually
23 incorporate the outdoor air treatment, as well as
24 specified exhaust ventilation.

25 One thing that we decided not to pursue was the

1 indoor air quality procedure from 62.1. We felt that that
2 procedure was too subjective to the -- too many decisions
3 for the designer that we felt that could have had a
4 negative impact on indoor air quality.

5 So on that first bullet of expanding ventilation
6 rates, that would impact primarily in Table 120.1(a),
7 which currently includes the limited occupancy spaces, and
8 it would -- also, part of the proposal was to increase the
9 rates by 30 percent.

10 So there's an adjustment factor in the equation
11 that I'll show later in the proposed language that would
12 increase the rates by 30 percent, and that 30 percent
13 number was determined based on several studies that
14 concluded the increased energy cost due to ventilation is
15 outweighed by increase in productivity.

16 And again, we're talking primarily of -- these
17 are commercial spaces that are used for businesses or
18 schools, and productivity and human health is a large
19 concern. The ventilation rate procedure that's in 62.1
20 calculates the rates as the sum of the ventilation
21 required for both people and related sources.

22 You know, again, the space types and the off
23 gassing of the furniture and whatnot. It also accounts for
24 the ventilation efficiency for zone air distribution. So
25 there's adjustment factors depending on the method in

1 which the air is being delivered.

2 The natural ventilation proposal expands on how
3 to calculate the open area than what we currently have.
4 It also requires that a mechanical ventilation system
5 still be installed so that you would have a mechanical
6 ventilation of the backup to the natural ventilation.

7 However, there are multiple exceptions to that,
8 which I will show in the proposed language. But
9 primarily, it will -- you don't have to put in the
10 mechanical system if your openings are permanently opened
11 or have controls that prevent them from being closed.

12 However, there is a safeguard of if your
13 openings do not do that, that you have to have a
14 mechanical backup. The proposal also includes air
15 treatment, outdoor air treatment, filtration, in other
16 words.

17 So 62.1 requires that the designer do a regional
18 and/or local air quality survey that would incorporate --
19 the stipulation is that they would go onto the site prior
20 to design and look at the surrounding buildings, and also
21 check USEPA website for local air quality, and based on
22 that they would either use a MERV 8 or a MERV 11,
23 depending on the PM levels.

24 However, the case team recommended increase to
25 MERV 13 versus MERV 11 in the case where PM 2.5 was

1 considered nonattainment. Also noted here is that
2 California CALGreen has a MERV 8 filter requirement that
3 they were also recommending that we follow.

4 There are some issues that we had with this
5 proposal. First of all, it's hard for implementation of
6 this, that we felt it was hard to implement. Also, hard
7 to enforce. We would -- the Building Department would be
8 required to become air specialists and know their local
9 air quality and look at surrounding buildings and whatnot,
10 and we felt that that was -- it was adding complexity to
11 the Standards that we would have rather not.

12 CASE Team proposal also included exhaust
13 ventilation, which would be a new, you know, including
14 into Title 24, Part 6, essentially bringing over the
15 exhaust ventilation rates from CA 2.1, Section 6.51.

16 I'm going to start now with CC Staff
17 recommendations. These are where we deviated from the
18 Case Team Proposals. So first, the MERV 13 requirement.
19 We feel that that should -- it should be a single air
20 filter performance requirement throughout the state.

21 We think it'll simplify enforcement. It'll
22 benefit most of the state and it would do away with the
23 local or regional air quality survey that's stipulated in
24 62.1. The reasons we think it'll benefit the state is the
25 following.

1 This is a map that I got from California Air
2 Resources Board's website. It's an attainment map of
3 parts of the state where it's either classified as
4 inattainment or a nonattainment for PM 2.5. What's
5 highlighted in red is what is considered in nonattainment,
6 or in other words, where PM 2.5 levels are high.

7 And as you can see, the greater Central Valley,
8 Los Angeles and the coastal areas by San Diego, with high
9 population densities, are impacted by this. Also, this is
10 the map for PM 10, and what's highlighted is actually the
11 parts of the state that's considered okay.

12 The rest of it is nonattainment area, meaning
13 that PM 10 levels are too high. And if you see, most of
14 the state is considered with -- is considered in
15 nonattainment and the highlighted areas are not that
16 populated.

17 So here's a MERV performance table from ASHRAE
18 52.2 2007 Team version. And if you look at the -- I don't
19 know if everybody could see that, those small numbers, but
20 a MERV 8 is from the range of PM 1 to PM 3. It's 20
21 percent efficient.

22 From range three to 10 it's 70 percent. So
23 that's what's current CALGreen, MERV 8 requirement, which
24 if you -- when you go back to the PM 2.5 map, it's only
25 capturing 20 percent of the, you know, PM 2.5 in the

1 Central Valley and Los Angeles area basins.

2 If we move to MERV 11 we get an increase in
3 efficiency to 65 for the PM 1 to 3, and 85 for PM 3 to 10,
4 which is better. But if we're going to specify a filter
5 level for PM 2.5, we wanted to recommend MERV 13, which
6 gets us all the way up to 85 percent and 90 percent for PM
7 3 to 10; so essentially, giving away most of the PM 10
8 particles and doing very good on the PM 2.5 particles.

9 Also, this is another deviation from the CASE
10 Team proposal. Their 30 percent adjustment factor, they
11 were planning that for all space types. We felt that
12 there are certain instances where that rule shouldn't be
13 applied, and I highlighted three examples: system with an
14 air economizer and demand control ventilation.

15 There has been studies done that show that air
16 economizing over-ventilates and the CO₂ levels on a PPM
17 level are very low; also, dedicated outdoor air systems
18 that are bringing in 100 percent onsite air; and lastly,
19 if we did a comparison of current ventilation rates to the
20 62.1 ventilation rates, only applying the adjustment
21 factor for when the ventilation would be less than what's
22 current. So in those instances is when we would recommend
23 the 30 percent.

24 Also, we're considering a simplified multi-zone
25 calculation method. There's one currently out for public

1 review that the ASHRAE 62.1 Committee should be making a
2 determination on at the end of this month, and depending
3 on the outcome we may be going for that simplified multi-
4 zone method, given that there's been some concern that the
5 multi-zone calculation is complex, and that certain
6 assumptions that are made by designers, if they're being
7 conservative, can really increase the amount of air
8 brought in unnecessarily, and that would really impact
9 energy performance.

10 Also, we wanted to address the Mechanical Code
11 and make the reference to the Energy Commission more
12 clear. This is the example language that we wanted to
13 change. It's not a big change. It's -- instead of saying
14 that the air supply requirements are found in the Energy
15 Code, we say they're specified.

16 The CASE Team had a different recommendation
17 that was a little bit more explicit, but you know, that we
18 can also consider, as well. But our intent is to address
19 the Mechanical Code and try to clean up this reference
20 here.

21 So with that I was going to go to the proposed
22 Code language if -- and my hyperlink is not working. So
23 let me see if I can get to it. There we go. Am I still
24 sharing?

25 (Pause)

1 MR. ALATORRE: So this is the proposed Code
2 language that's found in the CASE Report. The CASE Report
3 will be posted for review. Actually, before getting into
4 the proposed language, I wanted -- I didn't show any of
5 the energy savings or penalty.

6 I wanted to mention that in the CASE Report they
7 did -- they had two prototypes, a small school and a small
8 office. The small office did show energy savings compared
9 to current Standards, and the small office, however,
10 showed an energy penalty.

11 But again, the CASE Report did a good job of
12 documenting that and it will be posted. The reason I
13 didn't show it is because, you know, again, referencing
14 back to the first presentation today, the Energy
15 Commission has the authority and we did not have that it
16 showed cost effectiveness for this measure.

17 So in the proposed Code change they added
18 definite -- this is the wrong file. Here we go. So they
19 added definitions. What's in ~~strikeout~~ are my edits to
20 this. "Cognizant authority," the definition's not needed
21 because that is only associated with the Indoor Air
22 Quality from 62.1, which we are not incorporating here.
23 So there's no need to have it in our definitions.

24 This is how they're recommending we edit 120.1.
25 What's stricken out here is the local air quality survey

1 and the need to go to USEPA's website and determine local
2 air quality. So that's been stricken, as well as some of
3 the outdoor air treatment when it references the Part 11.

4 So it's now a simple MERV 13 for particle
5 filters or air cleaning devices. Natural air -- natural
6 ventilation, again, requires that a mechanical system
7 designed in accordance with the mechanical ventilation
8 rate procedure be installed.

9 Exceptions would be if the natural ventilation
10 openings to comply with the requirements are permanently
11 open or have controls that prevent opening or being closed
12 during periods of expected occupancy, or mechanical
13 ventilation systems are not required if the zone is not
14 heated or cooled.

15 Other than that, you would have to install the
16 mechanical backup. So this is the ventilation rate
17 procedure calculation with a 30 percent increase in
18 ventilation rate. And I just wanted to kind of give you
19 and give Ryan kind of the -- showcase his hard work here
20 and his recommendation of this proposed language.

21 So again, this will be posted for review. I
22 assume that that's a lot of information to digest now, and
23 I'm just going through it kind of quickly. But with that
24 I will go back to the -- if I can get there. There we go.

25 Am I showing? Okay. With that, I am ready for

1 questions or comments.

2 MR. WALKER: Hi, Mark. It's Chris Walker.
3 Chris Walker, with CAL SMACMA. And thank you again for
4 making the presentation. This information is -- we're
5 digesting it. Kind of going back to what Bob had said
6 earlier, this is a lot of information to digest.

7 One quick question. As far as the Code change
8 proposals themselves, we -- you know -- right now I'm
9 having to go to the CASE Study website and pull down the
10 Code change proposals one by one. Is there -- and this
11 goes beyond just your presentation -- but is there going
12 to be a place, a consolidated location on the Energy
13 Commission website that will have all of the Code change
14 proposals, as modified and recommended by Staff, easy to
15 get? I'm just having a hard time fishing them out from
16 all the different links right now.

17 MODERATOR BOZORGCHAMI: As soon as we're done
18 with the pre-rule-making process we pretty much understand
19 where we're going to set our Standards. Too, we will post
20 them on our 2019 page as our -- prior to the 45-day
21 language.

22 MR. WALKER: And the only reason I ask is
23 because I'm sending out this information to our members to
24 get feedback from them. If we have to wait till the pre-
25 rule-making process is over to have these documents, and I

1 understand that you want input before you put them back
2 out.

3 MODERATOR BOZORGCHAMI: Sure. Sure.

4 MR. WALKER: But if there can be a pre-pre-rule-
5 making --

6 MODERATOR BOZORGCHAMI: I see what you're
7 saying. So--

8 MR. WALKER: -- provision of these -- of this
9 Code language it would help me get feedback from our
10 members.

11 MODERATOR BOZORGCHAMI: Good point, and I'll
12 what I could do, and we'll probably put it on with our
13 PowerPoint presentations that are on there right now. So
14 as we get them, I'll put them up.

15 MR. WALKER: Terrific. I mean, that will help
16 me. I've got 300 members throughout the State of
17 California, contractors working on this every day, and for
18 them to see the actual proposals in a very easy,
19 consolidated way helps them provide you the feedback that
20 you want.

21 MODERATOR BOZORGCHAMI: sure. But as of now,
22 these presentations will be posted the day after the
23 presentation's given. So you will get those tomorrow.

24 MR. WALKER: Thank you.

25 MODERATOR BOZORGCHAMI: Um-hum.

1 MR. ALATORRE: Need one online? No. Come on,
2 Jon.

3 MODERATOR BOZORGCHAMI: You turn on the mic.

4 MR. MCHUGH: Sorry. Jon McHugh, with McHugh
5 Energy Consultants. You know, this -- I think this is a
6 great start in harmonizing with ASHRAE 90.1, and there's a
7 number of commercial buildings that, you know, currently
8 have to do their ventilation calculation procedure twice,
9 once to comply with the Code and then once to comply with
10 the lead requirements of 30 percent beyond ASHRAE 90.1.

11 And I was looking at the proposal to not include
12 the 30 percent beyond ASHRAE 90.1 for spaces that are
13 using DCV and economizers. And you know, one of the
14 concerns about the 62.1 protocol is that it substantially
15 reduces the amount of ventilation rate per person.

16 And the -- for high density occupancies the
17 carbon dioxide level is going to actually be quite high.
18 For highly, you know, densely populated occupancies you
19 can have 2,000 parts per million in those occupancies.

20 And you might think, oh, the DCV, that's going
21 to help me out because we set that to 1,000 parts per
22 million. But if you look at the requirements for DCV, the
23 standard specifically exempts increasing the outdoor air
24 to hit the 1,000 parts per million.

25 So you only increase the outdoor airflow rate to

1 that maximum design outside air level, which for some of
2 these high density occupancies now has very high levels
3 of, you know, of internally generated CO₂.

4 The thought is, well, I've got an economizer.
5 So in the morning I'm getting lots of additional air and
6 that's great for removing, you know, pollutants that might
7 have accumulated overnight. But now, once you're actually
8 -- you know -- now, it's gotten hot in the middle of the
9 day, you can have a substantial fraction of day where the
10 economizer is not applied.

11 When you get up to these higher levels there's
12 this -- there's been three studies that are replicating
13 the reduced cognitive performance at higher CO₂ levels, you
14 know, around 2,000 parts per million.

15 Those studies done by Bill Fisk, you know, the
16 exposure time for running those tests were on the order of
17 three hours. So even though you have an economizer that
18 might be operating a couple of hours in the morning, the -
19 - thinking that that's going to assist people's
20 performance in the middle of the day I think right now the
21 data doesn't show that.

22 So I like where you're going with this proposal.
23 There are a couple of -- the other concerns that you
24 brought up are the complexity of the multi-zone
25 calculation. And I understand there's two proposals out

1 there, one that's by Steve Taylor, as well as the one by
2 ASHRAE.

3 And you know, selecting, you know, either of
4 those before we get to the end would be highly desirable,
5 as we've heard that the current methodology is really
6 unenforceable. Thank you.

7 MR. ALATORRE: Thank you, Jon. And yeah, just
8 to mention, we're aware of the Taylor's recommendation, he
9 did submit it to the CASE Team and it was evaluated, and
10 that's also being considered as a possibility.

11 MR. SIT: This is Ryan Sit, from Integral Group.
12 To address your question about those space types that have
13 higher occupancy, and thus, will have CO₂ PPN above the
14 2,000 threshold where adverse health affects occur, I do
15 want to say that the ASHRAE 62.1 Committee is actively in
16 parallel working on researching adjustments to ventilation
17 rates for all the occupancy types.

18 So that work is done in parallel, but we can
19 look into, you know, we can look into the analysis to see
20 which -- exactly which space types are having those
21 concentrations above undesirable levels.

22 MS. JENKINS: Bringing that down. So Peggy
23 Jenkins, with the California Air Resources Board. And I
24 just wanted to comment that we do support very strongly
25 the proposals to increase MERV to go to higher filtration

1 for both the residential and the commercial buildings.

2 And just from the air pollution perspective, of
3 course, Mark did a great job showing, you know,
4 unfortunately, our nonattainment maps for PM 10 and 2.5,
5 despite our agency's, you know, efforts with regulating
6 fairly extensively our automobiles and trucks and so on.

7 It does take time for fleet turnover. There's
8 still a lot of sources of PM, and as time has gone on the
9 health studies have shown more and more health impacts of
10 particles at lower and lower levels. So we see not only
11 respiratory effects, but also, cardiovascular effects.

12 And really, PM is the pollutant that has the
13 greatest health impact on Californians relative to all the
14 other pollutants that we do regulate. So it's a very high
15 priority, the highest priority from the health
16 perspective.

17 So we do appreciate that the Commission's moving
18 forward with an effort to help reduce our exposures. We
19 also have some new, or I would say newly heightened
20 concerns relative environmental justice areas.

21 And folks here are very near typically, not just
22 industries, but more often busy roadways where the fine
23 particular and ultra fine particle levels are extremely
24 high. So moving our MERV filtration up and increasing our
25 energy efficiency I think is really going to help reduce

1 exposures for those individuals that are most highly
2 impacted. So we appreciate your effort here. Thank you.

3 MR. ALATORRE: Thank you, Peggy.

4 MR. MILLER: You have some online questions.

5 I'm going to go to first Tom. I'm going to unmute you.

6 Go ahead and state your name and association.

7 MR. FELTZ: Thank you. Great job on trying to
8 update these Standards and address indoor environmental
9 quality and ventilation and so on. This is Tom Feltz,
10 Healthy Building Research in Davis, and technical adviser
11 for the Collaborative for High Performance Schools.

12 Was also co-author for the Indoor Environmental
13 Quality Research Update for the Energy Commission back in
14 2011, 2012. And one of -- two of the many issues that we
15 address and recommended as being high priority were
16 moisture and thermal comfort.

17 So I thought I'd just throw in some comments
18 there because others really haven't addressed that. In
19 terms of moisture, newer buildings and airtight buildings
20 are at high risk for moisture and mold problems, and
21 improving the whole house ventilation is one good strategy
22 to help minimize that.

23 But more importantly, probably, is the source or
24 local control such as range hoods, because that's one of
25 the key moisture sources in buildings and homes. So

1 beefing up those range hood Standards is great.

2 In fact, I would also recommend adding some
3 onsite testing requirements, which I think the ASHRAE 62.2
4 Chair has commented on recently in another proceeding that
5 you have there. On a similar vein for -- while I'm there
6 -- on ventilation, enforcement and operation and
7 maintenance are clearly kind of the weak links in all of
8 this building performance issue in the real world.

9 But we do in California have a minimum building
10 ventilation standard for workplaces, at least, which
11 requires annual inspection and maintenance. So I would
12 recommend that you try to make very explicit connections
13 to that in your regulations and see if you want work out
14 some way of tying that into enforcement, and at least
15 letting people know that they're responsible for that.

16 I don't know, haven't thought about that a whole
17 lot yet, but I'm sure that from my experience, when
18 building owners find out that that's something they're
19 responsible for it gets their attention real quick.

20 And on thermal comfort, that was another key
21 risk for low energy buildings. That is, they can easily
22 overheat if the solar gain and internal gains aren't
23 carefully managed. And it's already a problem in new
24 homes.

25 Offerman's study on new single-family homes

1 found about 19 percent of the homes were reporting that
2 they were too hot. And we haven't looked into that data a
3 lot, and some of that is just probably from bad system
4 installation, but I think based on a pretty large body of
5 literature around the world that low energy homes can
6 easily overheat.

7 And so one needs to be very careful about
8 shading and ventilation and so on. And so we also need to
9 address future climate and that was one of the
10 recommendations in the California Department of Public
11 Health plan for extreme heat adaptation.

12 They recommended that the building standards,
13 Building Energy Standards address ways to keep internal
14 buildings cool, and as well as, you know, urban areas and
15 urban heat islands. But that's something that some groups
16 are already doing around the world. And I think
17 California could do a lot there.

18 The case -- there was a case study of new homes
19 also around 2011 that modeled new homes, and Bruce may
20 have been involved with this, looking at ASHRAE Standard
21 55, thermal comfort compliance, and a lot of the model
22 prototypes of homes were not meeting just the basic
23 thermal comfort standards.

24 And so I think that needs to be revisited
25 seriously for current climate, as well as future climates.

1 And I guess I think that's roughly it. And so my basic
2 question is, how do you plan to address these risks of
3 moisture and overheating in the current and future
4 climates. Thank you.

5 MR. ALATORRE: Thank you, Tom. I think that was
6 more of a residential question that he was posing.

7 MR. FELTZ: Well, it's overlaps a lot. For
8 example, schools overheating is, you know, a big problem,
9 especially in the older schools. But if they go to do a
10 major remodel then they need to address it. And the
11 minimum building ventilation standard applies just to
12 nonres.

13 But I would argue that we need something like
14 that on point. Some countries are already doing that.
15 They have a pretty strict chain of custody and performance
16 testing, and they even have -- there's a lot of actually
17 overheating guidance out there in the Passive Home Program
18 in several countries where they have overheating criteria,
19 so many hours above a certain temperature, for example, or
20 an operative temperature.

21 And LEED has pilot credits now for looking at
22 overheating, as well as passive livability in a building
23 if the power goes out. You know, how long before you have
24 to evacuate it.

25 MR. ALATORRE: Okay. Thank you for that, for

1 that comment.

2 MR. SPRINGER: This is Dave Springer. I think
3 the overheating problem is primarily with, you know, for
4 example, passive homes in heating only climates where
5 there's no air-conditioning, and if it occurs elsewhere
6 it's primarily a problem of inadequate sizing or
7 inadequate zoning.

8 And you know, one of the things that's
9 unfortunately kind of discouraged in current residential
10 standards is zoning systems, and I think some work needs
11 to be done there. But anyway, I don't think it's as much
12 of a problem, and where it has been a problem we've seen
13 some legal action that has resulted in contractors being
14 very careful about sizing. In fact, the problem is more
15 of the opposite of over-sizing cooling systems.

16 MR. FELTZ: Well, I think that's maybe generally
17 true for now, but in the next decade or two we're
18 expecting to have a lot more severe power outages and heat
19 waves and so on. And so something that's designed to
20 perform pretty well will now -- will then become a big
21 energy hog.

22 And so if one's looking at life cycle assessment
23 analysis of the energy performance, I think there's a lot
24 that we can do to build in and get ready for those
25 problems and prevent them. And some people have done --

1 there's a lot of people have done optimization, looking at
2 mid and late-century strategies to improve shading and
3 glazing and so on, and insulation, and looking for
4 different tradeoffs. And so that's I would say best
5 practice at this point.

6 MR. MILLER: All right. Thank you, Tom. We're
7 going to move on to Mara. I'm going to unmute you now.
8 Go ahead and state your name and association.

9 MS. BATARI: Hi Mark and everyone. My name is
10 Mara Batari. I work with Embedded Systems and I'm the
11 Chair of the Indoor Air Quality Procedures and
12 (indiscernible), and the Vice Chair of the Indoor Air
13 Quality Working Group and ASHRAE Standards 62.1.

14 And I have a question about the indoor air
15 quality procedures, and why it was excluded from the new -
16 - from the changes. So Mark, you mentioned it was
17 excluded because it was found too subjective. And in 2015
18 the CEC funded a study, or support a study in Lawrence
19 Berkeley Lab, and the title of the study was, Should Title
20 24 -- let me just read it so I can be accurate about this.

21 So Should Title 24 Ventilation Requirements Be
22 Amended to Include An Indoor Air Quality Procedure. So
23 they had indicate in many ventilation scenarios and they
24 found that including an (indiscernible) to the VRP or the
25 Indoor Air Quality Procedure, you can, you know, name it

1 whatever you want, it actually meets the risks.

2 So it's acceptable from this perspective and
3 will lead to energy savings, and actually exceeds -- from
4 health standpoint it exceeds Title 24. And they expect
5 significant adoption of this alternate VRP. And just so
6 you know, so the alternative of VRP states that -- or
7 proposes to decrease the ventilation rate 30 or 40 percent
8 beyond ASHRAE 62.1.

9 So instead of the proposed increase 30 percent,
10 the alternative VRP can decrease 30 percent and -- sorry -
11 - so it's decrease 30 percent, and as long as they make
12 mandatory air-cleaning or filtration. That was on
13 particulates. So that's my first point.

14 And actually, there's a lot of study that showed
15 that you can do a new air quality procedure, and at the
16 same time meet the requirement for this and pollutant
17 limits. The second point is that many, many people on the
18 phone mentioned about the new studies and how reducing
19 pollutant limits can lead to better indoor air quality and
20 productivity.

21 And that's true. You know, the latest study by
22 the Harvard public health, school, they say they need
23 pollutant level, for example, carbon dioxide pollutant
24 level, to -- they will lower the pollutant level, the
25 better (indiscernible) the government's ability.

1 But you can exceed that by doing different
2 scenarios. One of them is ventilation. So hence, the 30
3 percent increase above the ventilation rate. Another task
4 can be air-cleaning. So these two methods can be
5 alternative to each other.

6 What I'm proposing is that if we can talk about
7 the second method as an alternative compliance task and to
8 be considered, as well, because it will lead to energy
9 savings, so it will meet the goal for not including more
10 load on the power plant.

11 At the same time, if it was done correctly it
12 will not compromise indoor air quality, maybe it will be
13 embedded in indoor air quality. Thank you.

14 MR. ALATORRE: Thank you. You know, and when we
15 were making that determination we found that the
16 requirements that are in 62.1 for the indoor air quality
17 procedure, they did not -- the stipulation is that you're
18 going to have air filtration or air cleaning devices.

19 It wasn't specific on one type of technology,
20 and there's -- we feel that's still a growing industry
21 that needs more research before we can bring it in. It's
22 also contingent on maintenance of the system, which we
23 don't have a lot of confidence in that being continued.

24 So again, this being a health and safety
25 measure, we felt we were going to be conservative and

1 limit it to just the ventilation rate procedures.

2 MR. SIT: This is Ryan Sit, from Integral Group,
3 just piggybacking on what Mark said. Yeah, the design
4 procedure we found was too subjective, and therefore,
5 would face enforcement issues. And we also corresponded
6 with Carbon LBL and they agreed with our recommendation of
7 determining ventilation rates using the ventilation rate
8 procedure and not the IAQ procedure.

9 MR. ALATORRE: Okay. I think we're done with
10 comments and questions.

11 MODERATOR BOZORGCHAMI: So if we're done, I
12 think we're a little bit ahead of schedule. So we could
13 take a one-hour lunch break and be back here by 1:00
14 o'clock, if that's okay. So with that, thank you and
15 we'll see you back this afternoon.

16 (Off the record at 11:53 a.m.)

17 (On the record at 1:11 p.m.)

18 MODERATOR BOZORGCHAMI: All right. Good
19 afternoon. This is Payam again. We're going to start the
20 afternoon session, but before RJ gets up and talks about
21 his topic, I want to give you guys a quick update of -- we
22 just made some changes to our schedule, and it's -- and I
23 apologize for that.

24 What we -- apologize. Give me one second so I
25 can get this on the screen. The workshop that we had --

1 pre-workshop that we had scheduled for June 29th conflicts
2 with another national meeting that's happening in San
3 Diego, and a lot of the mechanical engineers will be
4 attending that.

5 So the idea was to reschedule that to July 18th.
6 This is the residential HVAC. At the same time, so we'll
7 talk about residential quality HVAC and small duct, high
8 velocities. We'll move that also under July 18th.

9 Gives Mark a little bit more time to work on his
10 presentation, hopefully. At the same time, what we're
11 doing with the solar and storage and the energy design
12 rating that Moz (phonetic) is going to be presenting,
13 we're going to move that to August 8th. Okay.

14 Apologize we had to make that decision, because
15 we wanted to get more feedback from the public on
16 mechanical systems and that conflict would have been kind
17 of a hardship. So if you have any questions, please let
18 me know. If not, I'm going to let RJ do his presentation.

19 MR. WICHERT: Good afternoon. I'm RJ Wichert,
20 Mechanical Engineer in the Building Standards Office. And
21 today, I'm going to be presenting on two process measures,
22 starting off with variable exhaust flow control.

23 And at this time I'd like to acknowledge the
24 work and thank the Statewide Cogent Standards Team and
25 specifically for this measure, Jared Landsman of the

1 Integral Group, who's the author for this proposal.

2 So for exhaust flow, lab exhaust flow the
3 current Code sets no limit on exhaust fan energy for
4 laboratory and process facilities, and this proposed
5 measure will set a limit on this process fan energy, but
6 give exceptions so that you can use either wind speed
7 sensor or contaminant sensor control to vary the exhaust
8 flow, depending on conditions.

9 So I'm going to go into background on exhaust
10 stack design. So the conventional stack exhaust, the
11 stack height allows for the exhaust to get to a safe
12 height for -- so that reentrainment does not occur of
13 contaminants.

14 This type of exhaust has a relatively low
15 discharge velocity, and therefore, a lower exhaust energy.
16 One of the down sides is this is less aesthetically
17 pleasing. So architects tend to favor shorter exhausts,
18 which have higher energy use.

19 And so we go into induction exhaust fans. So
20 these have lower stack height, which requires additional
21 momentum, and therefore, additional fan energy to get a
22 effective plume height that's at a safe level.

23 And these are typically not visible from the
24 ground level. Therefore, they're preferred by architects.
25 So we'll go further into induction exhaust fans. The

1 effective plume height is highly dependent on the wind
2 speed, the mass flow rate and the stack height.

3 You need an effective plume height, a high
4 enough plume height so you don't get reentrainment of the
5 contaminants in the exhaust air, and you also need to make
6 sure workers on the roof are not affected by any
7 contaminants.

8 So here we have a graph of the induction exhaust
9 fans compared to traditional stack exhaust fans. You can
10 see these lower gray lines, these represent different
11 conventional exhaust systems at 1,000 feet per minute,
12 2500 feet per minute and 4,000 feet per minute discharge
13 rate, and you can see the green lines here are to induce
14 exhaust systems. And you can see that -- the higher power
15 fan energy power relative to the discharge rate.

16 So one of the alternatives proposing to get
17 around that fan energy -- prescriptive fan energy limit is
18 anemometer control or wind speed control. So in this
19 system you'd have a anemometer on the rooftop that would
20 measure the wind speed, and depending on the wind speed
21 the fan can be -- the exhaust fan can be run at a lower
22 rate.

23 Or if the fan wind speed is very high you'd need
24 to run it at a higher rate. So therefore, when the wind
25 is at a lower rate you can save energy. At this point

1 since there's no prescriptive requirements currently,
2 these fans are basically run at their design rate.

3 So they're designed to run at one percent fan
4 maximum wind speed. And so they're always running at full
5 speed, and that's a lot of energy and when the wind is not
6 there you don't need to run them at that high of a rate.

7 And the other alternative is speed control
8 through a chemical monitor. So in this system you'll have
9 a chemical monitor in the exhaust stack that is measuring
10 the concentration of contaminants. If it's low enough
11 it's deemed safe and the dilution -- the amount of
12 dilution is not as high, and therefore, you can lower the
13 fan discharge rate.

14 Basically, if there's nothing really -- not --
15 the concentration of chemicals isn't high enough to really
16 need that discharge rate you can save energy in the
17 system. So what are we proposing? We're proposing a
18 prescriptive requirement that would limit the fan power,
19 the maximum fan power for systems that are greater than
20 10,000 CFM.

21 We're also proposing that these systems must
22 meet ANSI Z9.5 2012, and they -- and you have the two
23 exceptions for a local wind station control or contaminant
24 sensor control. And then additionally, this would require
25 acceptance testing.

1 So I'm going to go into the methodology for how
2 the energy savings was calculated. So in order to
3 calculate the energy savings a spreadsheet modeling tool
4 was used, basically just modeling the exhaust fan energy
5 versus the wind speed control, or wind speed data.

6 So the modeling assumptions operate 9:00 to
7 5:00, exhaust airflow out of 10 ACH, a 40 percent turndown
8 during unoccupied hours, and maintain an effective plume
9 height of 20 feet and a static pressure of 2.5 inches and
10 a maximum contaminant concentration of 400 micrograms per
11 cubic meter.

12 Some of the lab sizes that were modeled, 1,000
13 square feet, 2,000 square feet. 5,000 square feet, 10,000
14 and 20,000, and basically, forecasting was used to
15 determine what size labs were going to be in which climate
16 zones.

17 And based on that forecasting data that's the
18 types of labs that were run for each individual climate
19 zone. So you'll see in a later slide that basically,
20 because of that difference between each zone, there is a
21 difference in the initial cost per climate zone, which
22 I'll explain a little further in detail later.

23 So going a little further, for the baseline
24 conditions, sort of modeling what is currently happening
25 right now, the fans are running at an assumed constant 10

1 mile per hour wind speed, and then the proposed
2 conditions, we're varying it based off of that wind speed
3 to see what the difference in energy usage is.

4 So some of the incremental costs for this
5 measure, a calibrated anemometer, \$1500. Low temperature
6 range anemometer costs a little bit extra. The cables,
7 mounting adapters, bird screen comes to a total of 2500
8 for the incremental cost per lab.

9 So those are a constant. So if you had a 10,000
10 square foot lab or a 5,000 square foot lab it'd be the
11 same incremental cost. And then your maintenance costs,
12 so it was deemed that the sensor would need to be replaced
13 during a 15-year period. That's \$1500. So a total
14 incremental cost over a 15-year period is \$4,000.

15 And as we'll go into further in the next slides,
16 the total energy cost savings per square foot was about
17 \$39 to \$92, depending on the climate zone. That's a
18 savings per square foot. So here's just a graph of the
19 first year energy impacts per.

20 This is actually, the title is incorrect, but
21 this is the first year energy impacts for the variable if
22 full control exhaust fan. So this is the TTV energy cost
23 savings per square foot over a 15-year period.

24 And the life cycle cost effectiveness from those
25 numbers were ranging from four and a half to about 20 for

1 the benefit to cost ratio. And here's just a graph
2 showing that, and you can see the green line is your total
3 incremental cost.

4 And the variance I was speaking to you earlier,
5 that's because of a variance in the types of labs and the
6 square footage of those labs, depending on the forecast
7 data for what would be built in 2020. That's why the
8 incremental cost varies.

9 You can see that the -- any bar that's above
10 that green line is cost effective. The savings are
11 greater than the cost, and the purple line is your
12 benefit-to-cost ratio. So just to go back over the
13 summary of what we're proposing.

14 So we're proposing a new prescriptive
15 requirement for cover processes. This would set a fan
16 power limit on laboratory and process exhaust fans systems
17 that are greater than 10,000 CFM. The currently proposed
18 limit is .45 watts per CFM.

19 Exceptions available if the system is controlled
20 by a rooftop wind sensor or contaminant sensor, and the
21 system also must meet ANSI 7 -- Z9.5. Types of buildings
22 that are affected, nonresidential, scientific laboratories
23 and process facilities, supplies, additions and
24 alterations, and it does align with existing relevant
25 Sodes and Standards.

1 As on modify existing Code language we'd rather
2 add to it. We're adding this prescriptive requirement.
3 So to go into detail with the proposed changes to the Code
4 language, have the prescriptive requirements for
5 laboratory facility exhaust.

6 There's going to be a fan power limit with
7 exceptions. Reference appendices. We need to add a new
8 section that would go over the acceptance test
9 requirements for this measure, and the nonresidential ACM
10 Reference Manual would need to be modified to explain how
11 the performance method is treating the standard design and
12 the proposed building.

13 Here's some key links to find more information
14 and contact information. Going to questions. Don't
15 everyone jump up. Chris, do we have anything online?
16 Well, if there's no questions, then I guess we'll go to
17 the next presentation.

18 So next on our schedule is the Automatic Sash
19 Closure System Measure. So I'd also like to acknowledge
20 this team, again, our Statewide Codes and Standards Team
21 and some of our authors for this measure, Briana Rogers,
22 M.L. Velmiki and Joseph Wing of Alternative Energy Systems
23 Consulting.

24 So laboratory fume hoods, they -- it's a device
25 enclosed, except for basically you're enclosing chemicals

1 that you don't want to get into the room in a exhausted
2 fume hood. This is the definition of what a fume hood is.

3 Some of the different sash types, vertical sash,
4 horizontal, sliding doors and combination. A little
5 background on VAV hood operation. You have the sash
6 control and exhaust valve actuator, and you're varying the
7 amount of exhaust, depending on the position of the sash.

8 These are some diagrams of where the sensor
9 would be located. This is showing the sensors to tell if
10 there's anything obstructing the sash during closure when
11 it's automatically closing. So some background.

12 There are no existing requirements for automatic
13 sash closure systems in Title 24. Other relevant Code
14 requirements, Title 24, Part 6, Section 140.9,
15 prescription requirement for VAV laboratory exhaust
16 systems, the California Mechanical Code, Section 503.5-11-
17 2, requirement for our VAV laboratory exhaust and room
18 supply systems for labs.

19 California Mechanical Code also has a section
20 that deals with codes for healthcare facilities, mostly
21 relating to air change and pressurization for health and
22 safety in hospitals. And then additionally, Section 410.3
23 establishes the average free velocity requirements for
24 laboratory fume hoods.

25 Continuing with Code history, Code Federal

1 Regulations, Volume 29, requires employers to actively
2 manage safety in laboratories. Training for closing the
3 sash when it's not used is required in some of these
4 Codes.

5 So an overview of what we're proposing, a new
6 mandatory requirement for covered processes that would
7 require automatic sash closure systems on VAV fume hoods
8 in fume hood driven labs. Building types impact,
9 nonresidential laboratories, scientific spaces, applies to
10 additions and alterations.

11 This does align with the existing relevant Codes
12 and Standards, doesn't modify existing Code language, but
13 adds to it and it would require a new compliance form. So
14 the proposed definition of fume hood driven lab,
15 especially sharing a common exhaust system with fume hood
16 density greater than one square foot of hood work surface
17 per 35 gross square feet of laboratory. It's based on
18 sensitivity analysis.

19 Going to the methodology for how the savings
20 were calculated. So baseline conditions, modeling with
21 how things are today. It's divined by the Best Practices
22 and Literature Review of Laboratory Design, a 5,140 square
23 foot fume hood driven prototype lab with central VAV, hot
24 water reheat, operating on 24/7 safety controls, occupancy
25 8:00 to 6:00 on weekdays, 10:00 to 2:00 on weekends,

1 utilizing 100 percent outside air, six air changes per
2 hour when it's occupied, four air changes per hour with
3 it's unoccupied.

4 Sash stops, install 18 inches and a fume hood
5 diversity of .46 when it's occupied and .38 when it's
6 unoccupied. The fume hood diversity basically is saying
7 what percentage of fume hoods are open versus closed
8 during the unoccupied or versus an occupied times with a
9 minimum face velocity of 100 feet per minute, and fume
10 hood airflows minimum 25 CFM per square foot of workspace
11 when closed, and the sash closed height is six inches.

12 Some additional energy-saving methodology here.
13 So the proposed conditions were complying with the new
14 Code we're proposing and the fume hood diversity for the
15 current Code or the proposed Code would be an occupied
16 ratio of .11 and unoccupied of zero.

17 So when the space is unoccupied all sashes would
18 be closed and when it's occupied 11 percent of them would
19 be open. So some of our incremental costs, the sash
20 closure systems were found to be just over \$3,000 for
21 cost, maintenance.

22 Failed sensor was found to be about six years
23 for their lifetime, so \$100 times two sensors replaced
24 during the 15-year period. So a total incremental cost of
25 3450. And the cost savings as we'll go into detail later,

1 range from 11,991 to 15,418 per fume hood.

2 And this is just showing the first-year energy
3 impacts per fume hood for a new construction and
4 alterations per climate zone. And I have the TDV energy
5 cost savings per fume hood over a 15-year period, again,
6 new construction and alterations.

7 And we're going to have this in a graph here in
8 a second. Life cycle cost effectiveness summary, which
9 we'll show in the next graph. So here you can see the TDV
10 benefits are greater than the incremental cost in each
11 climate zone.

12 The green line is the cost, the blue represents
13 the benefits and then you have your benefit to cost ratio
14 with the purple graph. So this is cost effective in every
15 climate, so. So what are we proposing?

16 We're proposing a new mandatory requirement for
17 automatic sash closure systems on VAV fume hoods in fume
18 hood driven labs, so that in effect, nonresidential
19 laboratories, scientific spaces, applies to additions and
20 alterations and it aligns with existing codes and does not
21 modify the Code language, but adds to it.

22 And to go into a little more detail on the
23 actual Code language and the Standards, we had that
24 prescriptive requirement for fume hoods limited to VAV
25 hoods. Also, we're proposing to require that manual

1 overrides are installed along the -- complying with ANSI
2 Z9.5 and occupant sensor requirements complying with
3 Section 110.9 and other fume hood specific language.

4 And for the reference, appendices, every new
5 section need to be added for acceptance test documentation
6 and, again, with the ACM we would need to describe how
7 this will be modeled, both for the standard and the
8 proposed conditions.

9 Key links and contact information, and any
10 questions? Go ahead, Val. Oh, yeah.

11 VAL: Okay. Thank you, RJ. This is Val, from
12 AESC. I just wanted to make a couple comments, since I
13 know this is pre-rule-making, so things are still getting
14 fleshed out. But the first two drafts, I believe, were
15 drafted as though this was going to be a mandatory
16 measure, but based on a lot of stakeholder feedback it was
17 changed in the case report to prescriptive.

18 And I know this last slide showed prescriptive.
19 So I just wanted to make sure that's what the case study
20 was representing. And then the second key comment I had
21 was, early in the presentation there was a description of
22 what is fume hood driven based on the one square foot of
23 hood work space per 35 square feed of lab work space.

24 That was our first attempt at delineating when
25 the measure would be cost effective and when it wouldn't,

1 when a lab is fume hood driven and when it isn't. Also
2 based on a lot of stakeholder feedback about labs and
3 their operation and the building parameters, we did a
4 sensitivity analysis instead to a lot of the building
5 parameters to define more of a parametric space, what
6 would be fume hood driven and what wouldn't.

7 So the cost effectiveness in the fume hood
8 driven space is now based on three different variables
9 about the building, rather than this one fume hood
10 density. So I would direct you to the case report if you
11 want to see more details about that.

12 MR. WICHERT: Online, Chris? Well, if there's
13 no comments or questions I guess we'll move on to Mark's
14 presentation.

15 MODERATOR BOZORGCHAMI: Mark Alatorre will be
16 talking about hybrid condensers.

17 MR. ALATORRE: Okay. Good afternoon. I'm Mark
18 Alatorre. I'm an engineer with the Building Standards
19 Development Office, and I'll be presenting the topic of
20 hybrid condensers. I want to acknowledge the California
21 Utilities Statewide Cogent Centers Team, as well as the
22 CASE authors on this measure, Doug Scott, Trevor Bellon
23 and Catherine Chappell.

24 Background on this measure, we'll go back to it
25 the 2008 Standards where we began to cover what we call

1 process spaces or process energy. Prior to the 2008
2 regulations we did not do that. We only regulated air-
3 conditioning as it related to, you know, human comfort,
4 human occupancy.

5 But in 2008 we started regulating refrigerator
6 warehouses, and within that we had -- related to this
7 measure we started having requirements on the condensing
8 units. Specifically, we had saturated condensing
9 temperature requirements, depending on if you have a
10 evaporatively colder air-cooled condenser, as well as
11 variable speed fans on the condenser, and the fans needed
12 to incorporate a split capacitor or an ECM motor.

13 The next round, the 2013 Standards, there was
14 some changes to the condenser requirements, and for
15 refrigerator warehouses that included removing the split
16 capacitor or ECM requirement, but adding condensing
17 temperature reset requirements, as well as condenser-
18 specific efficiency and a minimum FIN density.

19 Also, Section 120.6 was expanded to cover more
20 processes and that included commercial or supermarket
21 refrigeration, where there were similar condenser
22 requirements to that of refrigerator warehouses.

23 There were some key differences, though, in the
24 specific condenser efficiency, and at that time in the
25 CASE Report, the CASE authors, who were the same firm,

1 Baycom, they did an analysis on hybrid systems.

2 However, there was limited information because
3 they were still new to the market and they didn't feel
4 confident with setting condenser requirements at that
5 time. Under the 2016 Standards there was no changes to
6 both the refrigerator warehouses or the supermarket
7 refrigeration sections.

8 However, we began fielding calls on how the
9 current Standards did apply to hybrid condensers, and
10 also, there was a rise in the use of hybrid condensers,
11 which results in us getting those calls. There was
12 interest because of the large water savings compared to
13 evaporatively cooled condensers, as well as large kilowatt
14 savings and potential kilowatt hour savings, when you
15 compare them to air-cooled.

16 So this is a slide that was presented at the
17 stakeholder of current industry practice for supermarket
18 refrigeration. Both air-cooled and evaporatively cooled,
19 condenser are used throughout the state, with hybrid being
20 one of the emerging condenser technologies being used
21 right around five years, and that's coincidental with the
22 2013 Standards; and also, an increase in trans-critical CO₂
23 systems.

24 Also, that was for supermarket. For
25 refrigerator warehouses they historically have used

1 ammonia systems evaporatively cooled for -- when
2 evaporatively cooled, and air-cooled systems are to reduce
3 water use and cost.

4 So a description of the proposed Code change is
5 to add hybrid condensers in addition to the air-cooled and
6 evaporatively cooled condensers, both in the supermarket
7 refrigeration section and the refrigerator warehouses
8 section, as well as include CO₂ as a refrigerant.

9 This change is more to clarify how the existing
10 Standards apply to CO₂ sensors -- I mean -- to CO₂ systems
11 as a refrigerant or that use CO₂ as a refrigerant. So
12 you'll see in the proposed Code language how certain
13 sections, there was an exception provided that made, you
14 know, somewhat like the condenser sizing, the specific
15 efficiency not applicable to CO₂ based systems, but it does
16 incorporate the saturation and condensing temperature of
17 the variable speed fans and variable set point control to
18 those systems.

19 The CASE Team in their proposal or in their CASE
20 Report they use three prototype buildings, a large
21 supermarket, small refrigerator warehouse and a large
22 refrigerator warehouse. The saturation control
23 temperature, the three different control logic that was
24 used I outlined here.

25 Option A used a reset based on dry bulb, and it

1 did that for both wet mode and dry mode. Option B reset
2 based on dry bulb and fixed when they were operating in
3 wet mode. And in Option C it reset the saturation
4 condensing temperature based on the precoil inlet air.

5 So this was after it passed through the
6 adiabatic pads or, you know, when it was in wet mode.
7 Also, they analyzed a maximum dry mode temperature
8 difference requirement, and this -- that measure results
9 in condenser sizing.

10 So the temperature difference would be the
11 saturated condensing temperature versus the outdoor dry
12 bulb, and the bigger the temperature differences, the
13 better the outside condenser. And the last thing that
14 they analyzed was a specific efficiency requirement.

15 And here's a table that kind of illustrates the
16 assumptions that were made for each one. So when they
17 were analyzing the saturated condensing temperature reset,
18 that's this blue row here, and the three options were the
19 variables. Everything else stayed the same as the base
20 case.

21 When they were doing the condenser sizing the
22 base case assumed a 10 degree temperature difference in
23 dry mode and a 30 degree in wet. What they analyzed was a
24 series of five different ranges, which I'll show in a
25 graph later.

1 And then they stuck with the 20 degree
2 difference when it was in low temperature and 30 degree
3 when it was a medium temperature, and I'll explain it a
4 little bit later. And lastly, the minimum efficiency,
5 they compared the base case for ammonia and halocarbon
6 refrigerants, and they compared it to 25 BTU per watt up
7 to 65 BTU per watt in increments of five, and then they
8 narrowed in on which one was being recommended.

9 So the results of the analysis is all three
10 control strategies achieved TDV energy savings. The
11 proposed language is focused on Option B, and that was
12 chosen so that they would not inhibit innovation for
13 controlling pre-cooling mode. So there's still questions
14 to be asked on how to maximize or optimize the control
15 strategies for when these condensing systems are in wet
16 mode.

17 And Option B uses a fixed temperature when it's
18 in wet mode to kind of still allow the market to develop
19 or evolve. So here we have the annual energy savings per
20 square foot for the variable saturation condensing
21 temperature set points.

22 I showed the -- this is the energy savings for
23 Option B and here we have the large supermarket, small
24 refrigerator warehouse and large refrigerator rated
25 warehouse. I want to remind everybody that this is a per

1 square foot savings. So when you apply, those hard square
2 footages shows, you know, the large energy savings.

3 The life cycle cost effectiveness, the
4 incremental cost that was assumed that included
5 installation, wiring and, you know, everything that would
6 be involved in incorporating Option B, and when you
7 compare it to the energy cost savings where you come up
8 with the benefit cost ratios.

9 And I highlighted in red where the climate zones
10 were, this option is not cost effective, and that's
11 reflected in the proposed language as exceptions for these
12 climate zones.

13 The analysis for the condenser sizing. So
14 again, they studied various temperature differences. I
15 put them up here on the slide. Ultimately, they chose the
16 20 degree and 30 degree. at that point for the large
17 supermarket it showed energy savings in this range here,
18 and in TDV.

19 And these are what were considered the warm
20 climate zones versus the cool climate zones, which is one,
21 three and five, which had a lower impact on TDV savings.
22 Same thing for the small refrigerator warehouses.

23 However, the large refrigerator warehouse had
24 better performance in the cool climate zones. So the
25 incremental costs for the -- what was ultimately chosen,

1 the 20 and 30, and the first cost is reflected here in the
2 last column and then so forth for the smaller refrigerator
3 warehouses and the large are down here at the 267,000.

4 The life cycle cost effectiveness, again, if you
5 compare incremental cost to the TDV energy savings we get
6 the benefit cost ratios. I highlighted in red again where
7 it was not at one or more. We're still trying to come up
8 with if it's reasonable to have exceptions for these or
9 not.

10 That's not in the proposed language yet, as you
11 will see at the end, but I wanted to highlight that there
12 were three cases where the benefit cost ratio did not
13 reach one. As far as the condenser specific efficiency,
14 here's the graph that showed the specific efficiency and
15 where it becomes cost savings on a TDV basis, and we have
16 inflection points at 45 BTU per watt.

17 This is for the large supermarket and this is
18 for the warm zones. The cool zones have that same
19 inflection point of 45 BTU per watt. From a benefit cost
20 ratio perspective you got a -- at 45 BTU per watt is right
21 when it hits one, and that's true for the warm climate
22 zones as well as the cool climate zones for the small -- I
23 mean -- for the large supermarket scenario.

24 The small refrigerator warehouse showed the same
25 trend, where at 45 BTU per watt was where we were hitting

1 the inflection point, and where the cost benefit ratio was
2 one. And although there was greater specific
3 efficiencies, like at 52 BTU per watt, the CASE Team
4 landed at 45 and that was, again, to not put undue burden
5 on the new technology that's coming out, and they would
6 leave most of the options open for designers selecting
7 these systems.

8 The large refrigerator warehouse is -- this
9 system was a ammonia-based system, and if you see the
10 inflection points at 35 BTU per watt and the benefit cost
11 ratio was there, too. However, they did not recommend a
12 specific efficiency for ammonia-based systems and that was
13 due to lack of data, again, that this is a newer type of
14 technology today.

15 Similar to what happened in 2013 when these
16 systems came out, there was not enough information for
17 them to pursue or recommend a specific efficiency for the
18 large system, ammonia-based. So now, we're going to jump
19 into the proposed Code language.

20 I'm going to do what I did last time, since my
21 hyperlinks don't work. I would like to bring attention to
22 some of these definitions. So when we're talking about
23 hyper condensers in reality they're defined as adiabatic
24 condensers.

25 This is a proposed definition for an adiabatic

1 condenser. I would like to get comments on this
2 definition, if not now, during -- in the docket. This is
3 how it would be applied to refrigerator warehouses.

4 Again, the added clarification on what sections
5 are applicable to transcritical CO₂ refrigerator systems.
6 In this case having design saturated condensing
7 temperatures limits is not practical for these systems.

8 So there's exceptions added. So this is for a
9 evaporatively cooled and this is for air-cooled. Here's
10 where we have the condenser sizing requirement added,
11 again, with the exception for transcritical CO₂ systems.

12 So I didn't intend to go through each one of the
13 scenarios or all the lines here. But I did want to show
14 the proposed Code language, and it will be posted along
15 with the presentation and open for feedback.

16 So with that, I'm at the end of my presentation.
17 Let me get back to the -- if I can get there. Say stop
18 sharing there. So I can take questions now. Anything
19 online? Okay. I'd like to thank the CASE Team again, and
20 especially for making the trip from San Luis Obispo.
21 Sorry you couldn't field questions, but.

22 (Pause)

23 MODERATOR BOZORGCHAMI: Sorry about that. So
24 I'm going to introduce a new concept, the loading dock
25 seals, and I just wanted to see -- get some input from

1 public and to see where we're going with this and if it's
2 the right path to go.

3 I want to give acknowledgment to the Cogent
4 Standards team and especially John Arent and Katie
5 Gustafsen. Sorry about that. It's not as Bozorgchami,
6 but I apologize.

7 (Laughter)

8 MODERATOR BOZORGCHAMI: So loading dock seals,
9 it's not been a concept in Title 24, but has been
10 measured. It's been in ASHRAE 90.1 since, if I'm not
11 mistaken, 2006 for climate zones four and eight -- four
12 through eight, not four and eight. Sorry about that, four
13 through eight.

14 So what is a duct seal? Duct seal is that
15 little foam/fiberglass mesh covering that goes around the
16 loading dock doors. And there's two types. There's duct
17 seal and there's the duct shelter. It's the protection of
18 the back end of a truck, so as it backs up the environment
19 is not -- there's -- the outside air, the unconditioned
20 air, is not really interacting with the environment within
21 the building.

22 Here's a little bit of definition of what it is
23 and the pros and cons of each one. The duct seals are a
24 little bit less expensive versus the duct shelters. They
25 both were not really intended for energy efficiency, but

1 they were mainly intended for privacy to prevent the
2 elements from interfering, rain, moisture and pest
3 control.

4 But what John did, and noticed that there's an
5 energy benefit to this also. So one of the measures go,
6 the possible mandatory, is to maybe require duct sealing
7 for all roll up doors where it looks feasible in the
8 climate zones.

9 The baseline analysis that was taken and field
10 measurements done is provided. I think that it was done
11 on two different locations with two different types of
12 scenarios happening. And what they did when they did the
13 energy monitoring, they looked at different types of
14 loading frequencies.

15 How often is that loading dock used? Is it used
16 a low, two times a day, medium, five times a day, or a
17 high, 11 times a day, and what the benefits are for that.
18 These systems do get beat up pretty bad.

19 I mean, you got to remember, these are very
20 heavy trucks that back into these and they provide the
21 seal. So when the analysis was done, they looked at the
22 incremental -- estimated, expected use of useful life,
23 about seven and a half years.

24 I think these were done by surveys with
25 contacting different vendors and different users of these

1 products. And if you notice, the first cost roughly
2 fluctuates between \$1400 for a sealed system versus a
3 shelter system of \$2400.

4 What the analysis was done, it was based on a
5 15-year analysis, but it was based on the higher cost
6 system, because you could use either one in any climate
7 zone. I believe there's seven manufacture of these
8 products that sell in California currently.

9 Again, what they did was they separated the cost
10 effective based on the climate zone, and we have three
11 different analysis done, one by low duct uses, and it
12 shows that there's a benefit cost for two climate zones.

13 But you got to remember, these are the two
14 extreme climates, one in 16. The analysis was done based
15 on heating loads. But if you look in the -- which twice a
16 day versus five times a day. At five times a day you
17 capture a lot more climate zone.

18 And if you look at the climate zones that you're
19 capturing, you're capturing in a lot of climate zones that
20 there is a lot of movement in products. Climate zones
21 three, South San Francisco, four and up -- five are -- you
22 get a lot of I'd call it produce movement within the
23 Salinas, Monterey County, Sacramento.

24 We've got a lot of warehouses and we've got a
25 lot of storage facilities here in climate zone 14. But if

1 you look at a area which has 11 times of movement or
2 higher movement, you notice that there's a lot more
3 savings.

4 There's a higher benefit coast based on the low
5 -- or actually, the medium duct uses. And you're
6 capturing a little bit more climate zones. So the
7 proposed language would be something like this if we do
8 implement it into our Standards, 10-117 for requirements
9 for limiting air leakage.

10 We would have to add definitions for both
11 loading docks, dock seal and dock shelters, which at this
12 time we don't have any. In reality, I just wanted to see
13 what people's feedback would be on this topic, on this
14 measure.

15 So that's why we're proposing it today. This
16 measure, again, here's the web links. If you're not able
17 to participate today verbally, please submit your comments
18 to our comment log. It's the third link on the bottom.

19 The proposal is in the Title 24 Utilities
20 Sponsored Stakeholders' Meeting, and again, our own
21 website is the one in the center. My contact information;
22 and questions or comments or feedback would be
23 appreciated. John, could you turn it on, the mic on.

24 MR. MCHUGH: I'll learn by the time it's 5:00
25 o'clock, I guess. Remind me, is there a similar

1 requirement already in place for refrigerated warehouses?

2 MODERATOR BOZORGCHAMI: Not like this, no, not
3 for these roll-up doors.

4 MR. MCHUGH: Okay. So does it make sense if
5 there is a requirement that applies across all climate
6 zones for -- because I'm assuming that the thermal benefit
7 is markedly enhanced for refrigerated warehouses.

8 MODERATOR BOZORGCHAMI: The refrigerated
9 warehouses where the dock is right there and it comes back
10 into a conditioned refrigeration system I think it would,
11 but John would be the better person to answer that
12 question.

13 MR. NERESCO: Yes. John Neresco. Yeah. It's a
14 great point, Jon. I think we didn't really focus on that.
15 We're focused primarily for this measure on the
16 nonrefrigerated, just because of the -- to provide a scope
17 of analysis.

18 As you know, it's a little harder to estimate
19 the benefits of a seal for a refrigerated warehouse,
20 because of the complexity of the store, but that being
21 said it seems like it would be a good and reasonable
22 requirement to include them on refrigerated warehouses.

23 The other thing is, I think it's more commonly
24 done on those buildings than nonrefrigerated where it's a
25 little bit unevenly used, but yeah, that's a good point.

1 MR. MCHUGH: Okay. Thanks.

2 MR. NERESCO: Yeah. And just to clarify some of
3 the scope and how we structured the study. So this
4 analysis that you're seeing and the savings, it's looking
5 at a warehouse where there's -- in the storage area
6 there's heating, but there's no cooling of the space
7 provided.

8 So obviously, any space that has cooling as well
9 could have additional benefits. And also, while we're
10 kind of characterizing this as a warehouse measure, it
11 would apply basically to all spaces that have these
12 loading dock doors.

13 So the large big box retail that have storage
14 areas that back, they would be subject to this requirement
15 if we in the CEC decide to have it go through for the next
16 Standards update.

17 MODERATOR BOZORGCHAMI: Well, with that, if
18 there's no more questions, I think we're done for the day.
19 Our next workshop, Pre-Rule-Making will be on June 20th,
20 sorry about that, on Nonresidential HVAC Measures.

21 And all the presentations today will be posted
22 by tomorrow and we will provide an update on our schedule
23 as we had changed it this afternoon for the rest of the
24 workshops. With that, thank you.


25 (Adjourned at 2:13 p.m.)

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 21st day of June, 2017.



A handwritten signature in cursive script, appearing to read "Kent Odell", is written over a horizontal line.

Kent Odell


CER**00548

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 21st day of June, 2017.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852