

DOCKETED

Docket Number:	17-IEPR-06
Project Title:	Doubling Energy Efficiency Savings
TN #:	219985
Document Title:	Transcript of 06/19/2017 IEPR Commissioner Workshop on Methodologies for SB 350 Energy Efficiency Target Setting
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	6/30/2017 10:32:44 AM
Docketed Date:	6/30/2017

CALIFORNIA ENERGY COMMISSION

In the Matter of:)
) Docket No. 17-IEPR-06
IEPR Commissioner Workshop on)
Methodologies for SB 350 Energy)
Efficiency Target Setting)
_____)

CALIFORNIA ENERGY COMMISSION

ART ROSENFELD HEARING ROOM - FIRST FLOOR

1516 NINTH STREET

SACRAMENTO, CALIFORNIA

MONDAY, JUNE 19, 2017

10:00 A.M.

Reported by:

Gigi Lastra

APPEARANCES

ENERGY COMMISSION STAFF

Bryan Early, Advisor to Commissioner McAllister

Martha Brook, Advisor to Commissioner McAllister

PRESENTERS

Cynthia Rogers, Demand Analysis Office

Paula Gruendling, Senior Regulatory Analyst, CPUC

Mike Jaske, Energy Assessments Division

Elena Giyenko, Demand Analysis Office

David Jacot, Los Angeles Department of Water and Power

Richard Oberg, Sacramento Municipal Utility District

Brian Samuelson, Efficiency Division

AGENDAPage

Introduction

Bryan Early, Advisor to Commissioner McAllister
1

Martha Brook, Advisor to Commissioner McAllister
3

Presentations:

Cynthia Rogers	8
Paula Gruendling	11
Mike Jaske	25
Elena Giyenko	57
David Jacot	74
Richard Oberg	106
Brian Samuelson	123

P R O C E E D I N G S

10:03 A.M.

SACRAMENTO, CALIFORNIA, MONDAY, JUNE 19, 2017

MR. EARLY: Okay. I think we can probably get started if it's okay with everyone. My name is Bryan Early. I work as an advisor to Commissioner McAllister. Thank you for coming to this staff workshop to discuss methodology and the foundation of the SB 350, 2030 Energy Efficiency Saving Doubling Targets.

Just to go over quick logistical matters briefly. The restrooms are in the atrium, out the door and to your left. If there's an emergency and we need to evacuate, please follow staff to Roosevelt Park, which is across the street diagonal to the building.

As a reminder, this workshop is being broadcast through our WebEx Conferencing System. So parties should be aware that we are being recorded, and we'll post the audio recording of the -- of this workshop on our website after the transcript is available in about a month.

So, for those in the room who would like to make comments, I'd ask that you fill out blue cards and then bring them to Christine over here. Participants on WebEx will also be given the opportunity to comment. We would prefer, given the tight schedule for this morning, that we

1 take all public comment at the end of the workshop. That's
2 our preference.

3 So materials for this meeting are available on the
4 website, and written comments on today's topics are due June
5 5th -- sorry -- June 30th, obviously, at 5:00 p.m. The
6 notice for this workshop explains the process for submitting
7 written comments. So just briefly in terms of background,
8 you know, as to what we're doing here today, obviously SB
9 350 directed the Energy Commission to establish targets that
10 achieve accumulative doubling of energy efficiency savings
11 based on the 2015 AAEE updated forecast and doing so is cost
12 effective, feasible, and does not affect reliability.

13 In terms of workshops we've had so far, in July we
14 had a workshop, 2016, talking about the data and analytical
15 needs associated with establishing these targets. In
16 January staff published a paper and had a workshop
17 discussing the policy and timely framework that staff
18 intended to follow in the implementation of these targets.
19 In that workshop and paper, staff stated that they intended
20 to adopt a 2030 energy efficiency savings doubling goal
21 based on the doubling of AAEE and the 2015 forecast, which
22 would not need to be change between now and 2030, but that
23 staff would adopt sectoral savings targets in 2017 and every
24 two years thereafter, which would be based on cost effective
25 feasibility and reliability evaluations.

1 So, additional things that have happened, on May
2 9th, staff adopted a draft 2030 energy efficiency doubling
3 goal, that 2030 line, with the source data attached. Thank
4 you to those who commented on that document.

5 So the purpose of today's workshop is to discuss
6 the methodology behind those sectoral targets, and staff
7 will be publishing papers, two papers, based on the
8 methodologies discussed today and July. So I think we can
9 hand it over to Martha Brook from -- also from Commissioner
10 McAllister's office, with the first presentation.

11 MS. BROOK: Good morning. Martha Brook here.

12 So I wanted to just clarify that we do want this
13 to be a participatory workshop. So if you have any
14 clarifying questions as we go, please come up to one of the
15 mics at the table, and let's get those questions addressed
16 as we go and then those more lengthy comments, as Bryan
17 said, we can hopefully have a good amount of time at the end
18 to hear those and talk with you about them.

19 How do I get to my slide deck? Okay. And then
20 just another process, direction is if you're online and
21 participating in our WebEx and you have a clarifying
22 question as we go, please raise your hand in the WebEx
23 forum, and Christine will meet you, and we'll get those
24 questions addressed.

25 Okay. So I'm just here to clarify three parts of

1 our framework for the target setting that have been
2 discussed here at the Energy Commission after that January
3 23rd, workshop that we had, and this will go into our -- the
4 next version of a paper that you guys will have a chance to
5 review shortly.

6 So, three things, and they're all about kind of
7 what we mean by doubling the statewide energy efficiency in
8 SB 350. One is that the legislation says by January 1,
9 2030, and so we're going to clarify what that means in our
10 parlance, and then the second thing is how we're going to
11 extrapolate the expected savings to 2030 since both the 2015
12 AAEE and the 2014, the earlier versions of the utility goals
13 did not go all the way to 2030. So we're going to clarify
14 how we're going to do that extrapolation, and then in this
15 framework paper in January 23rd, we mentioned that we would
16 be correcting 2014 AAEE, and we no longer intend to do that,
17 and I'll explain why.

18 So since we're doing all this in terms of
19 additional achievable energy efficiency that's included in
20 our long-term demand forecast, we're using a demand
21 forecasting framework, and in that framework, a year is a
22 year's worth of energy consumption in the long-term demand
23 forecast or, in this case, a year's worth of savings, and so
24 a year's worth of savings in 2029 is -- is actually by
25 January 1, 2030. And so, instead of going to 2030 in our

1 charts and tables, we're going to go to 2029, and we're
2 explaining here and in the next version of the framework
3 that we expect this to meet the intent of the legislation to
4 set -- to accomplish the deadline by January 1, 2030.

5 The second clarification of the framework is in
6 the January 23rd paper, we had this -- what we've been
7 internally calling kind of a kinked line where we were
8 adopting a three percent growth rate from 2025 to 2030 or
9 2023 or 4. For the POU's that ended earlier, it's a 2030.
10 And we were questioning that ourselves internally because
11 the -- the legislation asked us to use an annual growth rate
12 for that extrapolation, and, you know, so the first version
13 of our staff framework was, well, let's figure out what
14 we've accomplished historically, and that was -- that was
15 consistent with a three percent growth rate. That was our
16 original set of assumptions, but then we challenged
17 ourselves to think of the average annual growth rate as
18 really just the average growth rate represented by the
19 historical line of the 20 -- of the AAEE and the POU goals,
20 and so now we're proposing that instead of adopting a three
21 percent growth rate for that extrapolation, we're just going
22 to do a linear trend of the data that we -- that was pointed
23 out in the legislation for the doubling. And, as you can
24 see in this -- in this slide, it results in all cases in a
25 slightly or significantly higher set of goals by the end of

1 that planning period.

2 So the -- the lower lines is -- represents the
3 three percent growth rate. The higher line's for natural
4 gas, electricity, and BTUs in this case represents that
5 linear trend of the -- of the historical savings.

6 And then, finally, in the framework paper we
7 explained that we intended to do some corrections based on
8 better information that had already been included in our
9 long-term demand forecast where we -- you know, on purpose
10 for our forecast, we review AAEE as it comes to us and we
11 understand it, and we make changes as appropriate, and if
12 there's a problem or an error, we correct it, and that's
13 what we were intending to explain in an update to the
14 framework. But then, again, internally we had discussions
15 about the intent of the legislation, and so legally that the
16 -- that SB 350 specifies the use of 2014 AAEE and that it --
17 the legislation did not direct us to correct it based on
18 better information, and so what we're -- what we're saying
19 now is that published 2014 AAEE and 2013 period goals times
20 two is that statewide annual efficiency goal that we're
21 drawing as the top line in all of the savings charts that we
22 intend to publish and that all work now -- that was the --
23 that was the legislative direction, take those numbers,
24 times it by two. That's what you're trying to achieve, but
25 our goal and our work is actually to establish savings

1 targets that are cost effective, feasible, and protect
2 healthy and safety, and that will -- we'll all be looking at
3 that together to figure out if we've actually met that top
4 line. We may exceed it in some -- in some areas. We may
5 fall short, but our work is not figuring out what the times
6 two math is, but our work is actually to establish cost
7 effective and feasible savings targets.

8 And then, of course, we'll be comparing those
9 targets to that statewide doubling goal, track progress, and
10 provide recommendations over time. So we think this is
11 really exactly what legislation directs us to do, and -- and
12 we're clarifying our framework in the -- in this area.

13 I think that's all I have, but I did want to
14 mention that the rest of today is really, as you can see
15 from the agenda, split between utility rate payers versus
16 efficiency savings and -- and all other sources of
17 efficiency savings, and we're doing this on purpose so that
18 we can really challenge ourselves and force ourselves to
19 identify incremental savings that are not already happening
20 and don't duplicate or overlap utility rate payer programs,
21 codes and standards programs, and -- and, as you will hear
22 today from staff, to make sure that we do a great job
23 tracking and reporting and not duplicating or identifying
24 savings that overlap each other, we're going to be
25 separating codes and standards out of the utility rate payer

1 efficiency savings programs and -- and then, as you'll see,
2 we are explicit about how we are kind of defending our
3 assumptions about non-overlapping savings when we get to
4 those additional non-utility potentials for savings, and I
5 think that's all I have to say because we're going to hear
6 more about that from staff next.

7 MR. EARLY: So next up we have staff presentations
8 related to the methodologies behind assigning the portion of
9 the savings targets to be achieved through rate payer funded
10 activities, and first we have Cynthia Rogers with EAD.

11 MS. ROGERS: Good morning. I'm Cynthia Rogers
12 from the Demand Analysis Office, and I will be talking about
13 the IOU target setting process. There are four specific
14 topics I will be talking about, the Energy Commission CPUC
15 coordination, the CPUC Potential and Goal Study, the
16 Integrated Distributed -- Distributed Energy Resources
17 Proceeding, and, finally, the Energy Commission's Use of the
18 CPUC Projections.

19 The Energy Commission has been coordinating with
20 the CPUC on the savings projections for the IOUs as part of
21 the SB 350 energy efficient target setting process. We've
22 been meeting with them in person and on the phone and
23 discussing what we will be doing. The Energy Commission is
24 not making any substitute changes to these savings
25 projections.

1 The CPUC has been working with Navigant Consulting
2 on updating the latest potential and goal study which is
3 titled "Energy Efficiency Potential and Goal Study for 2018
4 and Beyond." This study was released on June 15th, and the
5 CPUC will be having a workshop to discuss this study
6 tomorrow, June 20th, in San Francisco, starting at 12:30.
7 Paula Gruending, who will be presenting after me, is
8 leading this workshop along with Navigant.

9 The new updated study includes multiple scenarios
10 addressing alternative cost effectiveness perspectives and
11 also includes changes to methodology to account for new
12 legislative mandates such as AB 802, SB 350, and some recent
13 CPUC decisions.

14 Some of the AB 802 changes include consideration
15 of existing conditions baseline, expanded measures list,
16 including measures that present stranded potential which can
17 now be incented due to the change in code baseline policy,
18 and a grow -- greater focus on gross savings, behavior,
19 retrocommissioning and operational savings.

20 Some SB 350 changes include the new goals are not
21 to be constrained based on past program performance. We'll
22 be working towards the doubling of energy efficiency savings
23 by 2030.

24 One of the CPUC decisions, Decision 1608019, that
25 had some changes. The new 2018 goals are no longer gross

1 but are now net of free ridership, and also the new goals
2 will also be cumulative.

3 The CPUC is expected to release a proposed
4 decision at the end of August, and the goals should be
5 adopted in September.

6 Integrated Distributed Energy Resources, the IDR
7 proceeding is assessing a uniform cost effectiveness
8 framework for all demand side resources such as energy
9 efficiency, demand response, and distributed generation.

10 The CPUC has been considering including the use of a
11 greenhouse gas adder to be incorporated into the current
12 avoided cost. A proposed decision is expected sometime this
13 August.

14 The Energy Commission's use of the CPUC
15 projections. The Energy Commission is making two non-
16 substantive adjustments to the final CPUC saving projections
17 for the IOUs. Because SB 350 uses 2015 as its base year, we
18 will be adding years 2015, 2016, and 2017 to the 2018, 29
19 projections for the cumulative savings. We will also be
20 excluding savings from most codes and standards effective
21 after 2019 to avoid double counting with independent
22 estimates by the efficiency division for future standard
23 impacts.

24 Thank you. Any questions? Up next is Paula.

25 MS. GRUENDLING: Okay. So I'm Paula Gruending.

1 I'm a senior regulatory analyst with the CPUC, and since you
2 already touched a bunch of things that I was going to touch,
3 so I don't even know why I'm here. But, anyway, you did a
4 very good job.

5 But I'm just going to go a little bit about --
6 through the background of why we're doing this. Some of the
7 main considerations in the 2018 and beyond update, since you
8 touched, I'm going to talk briefly about the scenarios and
9 the results and the comparison with the 2014 study, and I'm
10 saying I'm going to touch on it briefly because we do have
11 our technical workshop tomorrow, and, you know, there's
12 going to be much more time to go in depth about the results
13 and methods, but I just want to give, you know, a flavor of
14 what's been released and also some of the many takeaways
15 that we have that we got from at least this -- this study.

16 Was there a question on the phone or -- no. Okay.

17 So, for the background, you know we -- we do need
18 to identify all cost effective energy efficiency and
19 establish targets for electric and gas corporations, and
20 also the rolling portfolio cycle schedule tells us that we
21 need to do a biannual update to the utility goals, and this
22 is what we're doing right now. So for the 2018 and beyond
23 studies goals, we developed methods and we got input via the
24 Demand Analysis Working Group, the DAWG. There were quite a
25 few changes to the methods that we needed to do due to the

1 -- to SB 350 and AB 802 that I'm going to talk in brief, but
2 also there were very unknowns. There were many unknowns in
3 the -- in the questions that we had to answer. So, you
4 know, it's good that everybody -- bear in mind that, you
5 know, there's still a lot that we -- you know, kicking off
6 in this version of the study, and we hopefully will be able
7 to have a little bit more data and improved methods, you
8 know, moving forward.

9 So last Thursday, June 15th, the draft study was
10 released by a ruling. The -- on July 14 is the deadline for
11 the formal comments and reply comments. The formal comments
12 deadline is July 7th, and for -- for parties to provide
13 comments, they actually need to be a party of the
14 proceedings. So if anyone wants to submit comments, they
15 need to go through the process of becoming a party, and if
16 you have any questions, you can come and talk to me
17 afterwards.

18 We are hoping -- the schedule is that we'll have
19 an August proposed decision and a September adoption. That
20 could be a little bit earlier, hopefully not later, but it
21 will all depend on how the record develops. And, you know,
22 just the process for adoption of the goals, we did release a
23 study with several scenarios, but ultimately the Commission
24 will consider the study and party comments on the record,
25 and we'll adopt one set of goals. So, you know, the

1 scenario is we're here to help us inform or to understand
2 how potential changes if it varies some -- some of the
3 attributes in the study, but the goals will be one set, and
4 we're doing that also just to make the job more difficult
5 for here. You know, why make it easier?

6 So some of the considerations for -- that we had
7 to take into account in 2018, as Cynthia, you know, said
8 before, we had to consider a broader application of the
9 existing conditions baseline, which we did. Increased
10 consideration of behavior retrocommissioning and operational
11 savings, we also included that in the -- in this.

12 Also consider normalized meter energy consumption
13 and paper performance in terms -- especially in terms of
14 whole building, and we -- we did consider that, and we
15 discussed that with the DAWG, and, you know, so right now
16 we're still in the early stages of those programs, but we --
17 we did take that into consideration as perhaps an additional
18 way of implementing those -- those programs.

19 Of course, if the goals would not be -- could not
20 be informed by previous studies, we did change the way we
21 calibrated the savings this time, and we also came up with
22 the scenarios and also had to consider doubling of energy
23 efficiency to the extent possible.

24 Another, you know, big area of concern is the
25 outcome and the discussions happening in the Integrated

1 Distributed Energy Resources Proceeding, the IDER, which
2 informed some of the decisions for the scenarios and the
3 potential and goals.

4 The proceeding is considering the uses of the
5 Standard Practice Manual tests, all of them, and how -- the
6 adequate uses and how to use those tests, and also we had a
7 few staff proposals that were added to that record. One of
8 them is for the use of the societal cost test and some of
9 the inputs necessary, how to calculate some of the -- the
10 inputs to support the societal cost test and also a
11 greenhouse gas adder to account for the cost of implementing
12 the 2030 GHG goals.

13 Right. So these are -- this is the summary of the
14 scenarios that we are -- the drafts -- we're calling them
15 draft scenarios that we included in the draft report.
16 Basically what we -- we consider several different ways of
17 going about it, and we landed on -- one scenario that he
18 just has a screen for economic potential based on the TRC
19 using the 2016 of what it costs and just the -- what average
20 GHG costs that are included in the avoider cost. And that
21 does not include any forecasts for accounting for the cost
22 of meeting the 2030 goals.

23 And then we have two scenarios that vary based on
24 a GHG adder that we are using to account for the cost of
25 meeting the 2030 goals. One of them is a staff proposal

1 that came out in the IDR proceeding, and the other one is a
2 proposal that came out in the comments on the IDR
3 proceeding. They used different methods, and, of course,
4 they generate different results. And then two variations of
5 the PAC. The PAC does not use any adder to account for the
6 2030 goals, but one of the variations of the Program
7 Administrative Cost is to add an aggressive program --
8 program implementation. So, additional incentives, a little
9 bit more of them, you know, and an aggressive take on BROS
10 engagement.

11 So really briefly -- I don't know how I'm doing on
12 time. Okay. So I can go -- so, looking at the results for
13 here electric, for the technical, economic, and market
14 potential, looking at the TRC reference scenario and the PAC
15 aggressive scenario, so the lowest and the highest ones.
16 Technical potential shouldn't change. What you do see is a
17 -- is a -- quite a change in the economic scenario because
18 it's sensitive to the -- to the cost effectiveness test that
19 we use. So the more aggressive or the more -- the less
20 stringent cost effectiveness screen would mean that more
21 measures are going to pass the test and are going to be
22 included in the economic potential, and -- and then the
23 market potential reflects the -- the logic that we use to
24 account for customer participation in the programs. It
25 takes into account payback, EUL, and some finance

1 assumptions as well.

2 The interesting thing to notice is that technical
3 and economic potential are instantaneous and doesn't take
4 into account soft turnover. So they're by default much
5 bigger than market potential because market potential does
6 take into account the soft turnover.

7 Gas is a little bit different. You could see that
8 not many measures pass the screen if you're just using the
9 TRC without a GHG adder. But it changes quite a bit if you
10 go to the PAC scenario.

11 Market potential also changes a little bit, and it
12 was the same thing with the electric results because the PAC
13 aggressive has -- assumes a great engagement on the utility
14 program side, and we expect to have more uptake based on
15 that.

16 In any event, for the gas, the interesting thing
17 to notice on -- especially the PAC aggressive, is that the
18 economic potential went up quite a bit, but the market
19 potential still remain at a small percentage of it. It
20 didn't go up as much because the -- the economic scenario,
21 the economic potential might allow -- with, you know, a more
22 aggressive cost effectiveness screening might allow for more
23 measures to pass this screen, but when you get into the
24 consumer decision making, those measures might still be
25 quite expensive and, therefore, not be adopted as much by

1 the -- by the -- participants.

2 So those are some of the main takeaways from the
3 -- from the study.

4 Right. So this is the -- just a snapshot on
5 incremental statewide market potential for electricity. You
6 could see from the gray line the biggest contribution we are
7 expecting to be from codes and standards, and then after
8 that, commercial -- the commercial sector is the one that
9 has a highest contribution. Let's see. Residential, you
10 know, also continue to be not -- not as much.

11 Let's see. For the commercial sector, the main
12 measures contributing -- the main measures contributing to
13 the potential are lighting, followed by HVAC, and for gas it
14 would be HVAC, food services, and water heating. And we
15 also see quite a bit of participation from whole building
16 measures, and you can see the -- the brown one is the -- is
17 a BROS that we believe was able to bump -- to get a bump in
18 relation to the 2015 study, because we didn't include more
19 measures.

20 And on the PAC aggressive, the relationship still
21 continues the same, but you do see that there's quite a bit
22 of contribution from the BROS measures because we did add
23 not only additional to what we had in 2014 but in additional
24 to our reference scenario, some measures that are still a
25 little bit uncertain, but we believe they might have some

1 potential in the future. But still the majority of the
2 savings are expected to come from codes and standards and
3 commercial.

4 And this is a comment on the incremental potential
5 from the standard measures. Based on the data that we have,
6 the standard potential actually to not be as significant as
7 we were expecting perhaps it to be. It sort of reflects
8 about seven percent in the early years, and it goes down to
9 about one percent in 2030, and the diminishing potential
10 takes into account the -- the turnover. It takes into
11 account that as you get people to upgrade their two code
12 measures, then the potential -- that potential starts
13 diminishing. And the measures that contribute most are HVAC
14 and lighting. But, again, this is based on the data that we
15 have right now. It doesn't mean that as we get more
16 understanding of this portion of the market subsequent
17 updates might not give us a different snapshot.

18 So brief comparison to 2015 study. We did model
19 more measures this time. So we added 31 technologies on the
20 residential, 51 on commercial, and we also added 23
21 technologies for the existing conditions modeling and then
22 some brief comparisons in the market cumulative for the
23 electricity. All scenarios but the PAC are higher than 2015
24 if you compared it in gross terms, but the -- but that
25 relationship changes, and only the -- the TRC is lower for

1 electricity, and for the gas, all scenarios are lower than
2 2015 for short and long-term, with only the TRC staying
3 below the 2015.

4 So, finally, just some takeaways. We -- we saw
5 that there's lower market potential than previous studies if
6 we are just using the traditional total recourse cost test
7 without considering any ways of accounting for the costs of
8 meeting the 2030 GHG goals.

9 The other thing is that those scenarios were
10 developed based on potential policy changes to explore the
11 alternatives to past studies and also to comply with SB 350.

12 Also we noticed that the potential at least for now, with
13 what we know, potentially -- potential from adoption of the
14 existing conditions baseline was not really that
15 significant.

16 Also codes and standards are significantly higher
17 than the 2015 potential, and perhaps they might tend to go
18 up as time goes on. And also the economic potential, we did
19 notice some variation depending on the type of cost
20 effectiveness screening that you did use. It -- it's more
21 significant in the short term than in the long term.

22 And, finally, I think that for SB 350 goals, one
23 thing to consider is that there might be limits to what the
24 utilities can contribute to the doubling of the energy
25 efficiency goals given that we have the restrictions of cost

1 effective feasibility and reliability. We do need to meet
2 those conditions. So at some point we need to be realistic
3 about what can be expected from rate payers. But, on the
4 other hand, this is the first time that we're taking a lot
5 of new policies into account and calculating potential, and
6 as we go on with the updates, both of the potential study
7 and the SB 350 target setting, we might be able to get more
8 data and improve those forecasts.

9 So I think that we need to be mindful that there
10 might be limits, but we should not now just completely
11 accept, you know, that the utilities are limited in how they
12 can contribute. I think that as we move on, we're going to
13 get more information and perhaps better forecasts.

14 And I think this is it.

15 You can speak now, Willie.

16 WILLIE: Thanks, Paula, for the presentation. I
17 just had a few questions since I done that study that you
18 mentioned. Here in your charts you had BROS as one of the
19 contributors of energy efficiency. Can you elaborate a
20 little bit on what BROS are?

21 MS. GRUENDLING: Oh, the BROS, the BROS. They're
22 Behavior Recognition and Operational Savings measures. So
23 from changes in the way you -- you operate your equipment,
24 how you engage with conservation and energy management tools
25 and practices, and also if you improve your basic

1 maintenance of equipment and processes in -- in -- for
2 commercial and industrial sector, as well as in the
3 residential.

4 WILLIE: So that's different than the behavioral
5 modification programs?

6 MS. GRUENDLING: Well, so far, the only behavior
7 we had was residential behavior from the home energy
8 reports. So we added quite a few different measures to the
9 scope of the study.

10 WILLIE: Thank you.

11 MS. GRUENDLING: But it's along the same lines.
12 We might just be referring to different types of measures
13 and behavior changes.

14 WILLIE: Also you mentioned that, you know, the
15 existing TRCs does not take into account the cost of
16 implementation of, you know, new policy environmental goals,
17 but my understanding is that, you know, the avoid cost being
18 used now, they already include, you know, avoided, you know,
19 RTS compliance --

20 MS. GRUENDLING: It does.

21 WILLIE: Some GS adders and so forth. So what
22 additional compliance costs were added in terms of coming up
23 with this new measure -- or avoided cost?

24 MS. GRUENDLING: The -- what we call the GHG
25 abatement cost, like the cost of reducing GHG emissions

1 beyond 2020, because the avoided cost reflects the cap and
2 trade prices, but those prices do not take into account the
3 new goal -- the new 2030 goals, and that's what the GHG
4 adder tries to capture.

5 WILLIE: Oh, okay. Thank you.

6 MS. GRUENDLING: No problem. Other questions?

7 MR. CHANGUS: Jonathan Changus with the Northern
8 California Power Agency. I was just actually curious about
9 the workshop tomorrow, where some of us could find
10 information on that.

11 MS. GRUENDLING: Oh, yeah. So I can -- I can,
12 yeah, talk to you offline, but, you know, just for everybody
13 else on the phone, the -- the workshop is at the CPUC, 505
14 Van Ness, starts at 12:30, and in the Courtyard Room, and
15 it's open to the public. You can show up and ask questions.
16 We're going to be presenting the results of the study and
17 also be giving more details on the methodology. And, yeah,
18 so this is -- this is it.

19 MR. CHANGUS: Will there be a -- a WebEx
20 participation or is --

21 MS. GRUENDLING: There will be a WebEx, and there
22 will be remote participation. What I can perhaps do is see
23 if there will be any way that we can share that information
24 with the participants here, because we -- yeah. Then you'll
25 be able to participate in person or remote.

1 MR. CHANGUS: Thank you.

2 MS. BROOK: Go ahead.

3 MR. FITZPATRICK: Hello. This is Howie
4 Fitzpatrick from PG&E. Thank you, Paula and Cynthia. I
5 have one question, and I don't know who it's for or if it's
6 better for tomorrow. So let me know.

7 And, Cynthia, at the end of your presentation, you
8 mentioned that codes and standards after 2019 weren't
9 included. And, Paula, I saw on your presentation that the
10 savings from codes and standards really starts to drop off
11 after say 2021, and I guess I'm interested in why that --
12 why that is, because I imagine that codes and standards will
13 continue to develop in some capacity after 2019.

14 MS. GRUENDLING: Sure. So for the scope of the
15 potential and goals, we added only the 2019 Title 24 and a
16 few appliance measures that I believe go all the way to
17 2023. The reason why we did that is because information
18 beyond that starts getting a little bit uncertain, and we
19 just wanted to keep the study to the information that we had
20 a little bit more certainty. But the -- the continued
21 projection for codes and standards is not being picked up by
22 SB 350 targeting. So the CEC team is -- is doing that. So
23 it's just a matter of scope, but we -- I agree with you, we
24 do anticipate that codes and standards will continue to grow
25 over time.

1 MR. FITZPATRICK: Thank you.

2 MS. GRUENDLING: Thank you.

3 MS. BROOK: Paula, I have one question. Martha
4 Brook, Energy Commission. So I was sort of surprised that
5 industrial and AG's sector stayed -- the savings kind of
6 started low and -- relatively low and stayed relatively low
7 compared to the others. Can you explain that just quickly?
8 Is part of that because of BROS or is that --

9 MS. GRUENDLING: This one?

10 MS. BROOK: Yeah.

11 MS. GRUENDLING: Well, this is electric. I
12 actually did not put the gas. The industrial sector is the
13 one that contributes most for the gas savings. I just
14 didn't add it here.

15 MS. BROOK: Okay. Thank you.

16 MS. GRUENDLING: So you will see that tomorrow.

17 MS. BROOK: Okay.

18 UNIDENTIFIED SPEAKER: I have a question. Moheb
19 (phonetic) in RDC. Paula, you had a sentence about the
20 limited ability of the IOUs to extract potential. Could you
21 just explain that a little bit more?

22 MS. GRUENDLING: Well, we are -- we do have the
23 cost effectiveness feasibility and reliability constraints,
24 and it -- at the end of the day, we do need to take those
25 limitations into account when we are calculating economic

1 potential and then market potential. So -- and that could
2 also have to do with the way we define it. So other ways to
3 define cost effectiveness, for instance, for other buckets
4 of energy efficiency beyond the utilities might have a
5 different -- might have a -- you know, a more unconstrained
6 potential. So that's the only thing to take into account.

7 UNIDENTIFIED SPEAKER: Right. And you're defining
8 cost effectiveness for utilities as everything under the
9 economic potential line?

10 MS. GRUENDLING: Yeah.

11 UNIDENTIFIED SPEAKER: Okay. Thanks.

12 Mr. EARLY: Well, thank you, Paula, for coming up
13 and giving us a preview. So, I mean, we will eventually be
14 docketing this PowerPoint, but I don't think it's going to
15 come in time for those of you who want to click on the
16 hyperlink and actually get details on how to show up
17 tomorrow. So I think probably the best way, if you do have
18 detailed questions about the workshop tomorrow in San
19 Francisco, you should probably find Paula today.

20 All right. Next speaker we have Mike Jaske.

21 MR. JASKE: Good morning. Mike Jaske with the
22 Energy Assistance Division of the Energy Commission Staff.

23 So Paula's last formal slide mentioned a couple of
24 different things that could be different in the future and
25 then the discussion with some of you who have come up and

1 asked questions have raised other questions, and what I want
2 to emphasize here at the outset before I get into the
3 details of my presentation are that the two studies, the
4 Navigant study that the PUC has paid for and the Navigant
5 study that the Public Utilities has paid for were set in
6 motion before we really fully understood where we were going
7 with SB 350. So those studies basically are -- although
8 Paula has described some methodological refinements, the
9 scope of those studies is sort of the traditional energy
10 efficiency measures. What I'm going to talk about are other
11 things that SB 350 authorizes as ways to satisfy targets
12 that were not assessed in those studies and are among the
13 reasons why the Energy Commission is going to be in the
14 forthcoming report and you've heard it already mentioned
15 earlier this morning, that we're going to be repeating this
16 target setting process biannually, quadra-annually,
17 somewhere, some cycle so that we can bring new kinds of
18 information to bear on this whole subject.

19 So three specific things that I'm going to talk
20 about this morning, conservation voltage reduction, fuel
21 substitution, and then a little bit about the need to expand
22 reporting requirements.

23 So the first of those, conservation voltage
24 reduction, is actually mentioned explicitly in the
25 legislation as a compliance option. CVR has been around a

1 long time, several decades. In its modern form, typically
2 got a secondary descriptor, Volt/VAR optimization, and that
3 reflects a more sophisticated understanding of how we can
4 implement these technologies, particularly in the context of
5 distributed automation.

6 As far as the Energy Commission staff knows, only
7 one California utility is actually implementing CVR/VVO at
8 scale for their system. There's been a number of others
9 that have conducted pilot projects. SMUD is one of those.
10 Some others who are trying to sort out does it make sense
11 for their system, does it make sense for subsets of their
12 system where certain circuits and feeders meet certain
13 criteria and perhaps there are others for which it's not
14 cost effective.

15 So just for illustration for those of you not
16 familiar with this, old style CVR is going to be shown by
17 this schematic of two pole-top distribution systems. On the
18 left-hand side is a simple current voltage sensor, sends
19 that signal down to a little controller, and the controller
20 -- actually, it's a capacitor bank. So there's a very
21 localized reading of voltage and that is translated into
22 some departure from ideal. That little stand-alone
23 controller with very primitive logic triggers the capacitor
24 bank discharge.

25 The one on the right-hand side has the same kind

1 of sensor, same simple measurement, same simple controller,
2 but what it does is affect the operation of the voltage
3 regulator. So this is sort of the 20, 30 years ago version
4 of CVR actually implemented to some degree in a utility
5 systems. What we're talking about now in terms of modern
6 CVR or VVO is a much more sophisticated system. On the
7 right-hand side, we have the same capacitor banks that could
8 be switched or line voltage regulators, but this schematic
9 is trying to illustrate that the context in which those are
10 actuated is completely different than it used to be in the
11 old days.

12 At the bottom of this schematic, it shows that
13 certain of these equipment may actually be deployed at the
14 substation level as opposed to the circuit and feeder level.

15 All of the communication is happening in the context of a
16 SCADA system where lots of information is known about the
17 distribution system in realtime, and there's a whole set of
18 modeling and control logic on the left-hand side of the
19 schematic that puts the decisions to actuate voltage
20 regulators or capacitor banks in the context of an actual
21 model and a prediction of how the distribution system is
22 performing in certain line segments.

23 So not only is -- in the modern version of CVR/VVO
24 the system responding to realtime conditions, it's -- it may
25 actually be triggered on the basis of projections of how the

1 system may be operating. And so that is obviously a whole
2 different context than the old system.

3 You can probably see just by that chart and how I
4 explained it that CVR/VVO is much more readily part of a
5 whole distribution automation upgrade, and trying to do it
6 on a stand-alone basis and charging off those costs just to
7 CVR/VVO is going to make it seem more costly. If you can do
8 these things -- multiple things together, then the certain
9 common costs that can be charged off to each of several
10 improvements, and that's the sort of complicated
11 distribution pilot that SMUD conducted four or five years
12 ago and I think perhaps the IOU's have been exploring that
13 as well.

14 As I mentioned earlier, loading patterns on some
15 feeders and maybe even whole substations may not justify
16 deployment of CVR/VVO. And cost effectiveness can be
17 radically affected by who is responsible for providing
18 energy to the customer. The -- the utility is responsible
19 for the package of distribution services as well as energy.

20 Then, you know, the utility and sort of its bundled
21 customers and that kind of regulatory construct can all
22 collectively benefit. If the utility is only providing
23 distribution services and there's some other entity like an
24 ESP or CCA is providing the energy, then energy benefits
25 don't accrue financially to the distribution utility, and

1 there's a whole different construct of figuring out whether
2 this thing makes sense.

3 So there are a number of policy questions that
4 will be laid out in a little more detail in the staff paper
5 forthcoming, but here's just a flavor of them.

6 So is there additional research that's needed to
7 determine whether various specific CVR/VVO technologies are
8 cost effective, and, if so, in what sort of feeder
9 configurations? Is there any kind of statutory direction or
10 encouragement or even subsidy to encourage CVR/VVO
11 deployment when it appears to be cost effective? How do we
12 deal with this issue of it might be cost effective from a
13 societal perspective, but you get down to the -- the
14 bookkeeping of distribution utility, and it's not cost
15 effective. How do we deal with that issue?

16 So we'll be highlighting these issues and I think
17 -- essentially what is likely is that the Energy
18 Commission's forthcoming final report is going to line up a
19 number of follow-up issues and over the course of the next
20 cycle, whether it's the next year or two or the next three
21 or four, depending on how -- when we decide we're going to
22 do a whole update, a target setting, we'll be proposing
23 various activities, working with utilities and others to try
24 to make progress in this area.

25 Okay. Second area, fuel substitution. So, just

1 to go back to the January framework paper, fuel substitution
2 was defined to mean end use device shifts from natural gas
3 to electricity and fuel switching to mean non-utility fuel
4 shifting to electricity.

5 There were a lot of comment -- and, before I say
6 about comment, staff's understanding of Public Resource Code
7 25310(a) excludes fuel switching. So a lot of comments in
8 favor of transportation electrification, which is fine, but
9 at least the way I read the legislation, transportation
10 electrification isn't a mechanism to contribute to
11 satisfying targets.

12 As we parse the language of 25310(d)(10), it
13 requires both end user energy savings and net GHG emission
14 reductions. So that's site energy savings and source GHG
15 emission reductions, and this doesn't line up exactly with
16 PUC's three-prong test, and so one of the going forward
17 challenges is going to be working with the PUC to see if we
18 can rationalize their traditional three-prong test and SB
19 350.

20 Now, of course, this is not a near term issue.
21 It's something that can be studied at more length because no
22 utility put forward a fuel substitution program because the
23 potential studies we're working with are the traditional
24 energy efficiency scope.

25 A little bit more about site energy saving. So to

1 have site energy savings, obviously the energy consumption
2 of the replacement device driven by electricity has to be
3 lower than that of the natural gas device. Everyone is
4 talking about heat pumps, but heat pump performance is very
5 important. How heat pumps actually operate in the duty
6 cycles of water heating or other technologies is critical to
7 determine whether there actually are going to be site
8 savings and a lot of details about how to establish what the
9 existing conditions are of the natural gas equipment that's
10 being replaced and is existing conditions the right
11 framework or is it code as a baseline assumption, et cetera.

12 On the mention of coming up with net GHG emissions
13 reductions, staff is going to propose sort of a three-step
14 process that we're going to be doing a within, without
15 analysis on an hourly basis, looking at the penetration of
16 electric fuel substitution measures. We're going to be
17 doing that with production simulation models with the proper
18 performance characteristics that renewable generation and a
19 resource mix that matches up to end use customers that are
20 going to be participating in a fuel substitution program,
21 and we'll be laying this out in more detail in our
22 forthcoming paper.

23 So this raises a lot of implementation questions
24 at the policy level that Energy Commission and probably CPUC
25 need to thrash through over a course of time. The first one

1 is should that resource mix that's being used to assess GHG
2 savings be utility specific or statewide, should it be
3 targeted to specific kinds of participating customers or
4 general to a utility. What process should be used to
5 develop minimum heat pump performance standards and the
6 performance of displaced gas devices, of course, this
7 question I mentioned before. What process should be used to
8 reconcile PUC's three-prong test versus SB 350, and a
9 complicated one that intersects with the fact that nearly
10 all gas services buy IOUs, and there are about 20 percent of
11 electricity consumption by POUs. So how -- whose going to
12 get credit for the fuel substitution benefits from a GHG
13 perspective, the gas utility losing mode or the electric
14 utility gaining mode?

15 So the last part of my presentation, reporting
16 requirements. This slide is just sort of a rundown of
17 things as they exist. PUC Code 9505 and PRC 25310(b)
18 establish what the POUs are expected to report to the Energy
19 Commission. PUC Code section was refined a little bit. It
20 talks about how the PUC goes about developing energy
21 efficiency potential and that we're to coordinate in our 350
22 efforts. Clearly we are, but there's no statutory basis for
23 any entity other than a utility to be reporting to the
24 Energy Commission. And, as we'll get into Ryan Samuelson's
25 presentation later today, to the extent that we foresee non-

1 utilities playing a role in generating energy efficiency
2 savings and contributing to the -- the big doubling
3 aspirational goal, how do we get information from those
4 entities, and what kind of information is that going to be.

5 There are a couple very specific things that we
6 are concerned about in the near term. As you know, 25310(e)
7 requires the Energy Commission to biannually report to the
8 legislature about progress, and when we do that, we're
9 supposed to assess two particular things, impacts on
10 disadvantaged communities and the effect of the savings by
11 local service area on a seasonal and hourly basis. Both of
12 these two things seem to require data that we are not now
13 receiving from utilities. So we're going to have to pursue
14 how we go about doing that.

15 Hourly impacts are important. That's not to say
16 that utilities perhaps are not looking at this, but because
17 the impact will be unique, at least at the aggregate level
18 of utilities overall savings, even if some measures have
19 profiles that are in common, we have to figure out how we
20 get some kind of reporting from POUs that allows that unique
21 profile for each utility to be developed to satisfy the
22 legislation.

23 We aren't now getting that, and we don't -- at
24 least the way we understand the Navigant model as it was
25 implemented for POUs, that's not a feature of that model at

1 this time. So something new is going to be required.

2 In terms of savings for disadvantaged communities,
3 clearly only utilities are knowledgeable about who their
4 program participants are and are they part of how the Health
5 and Safety Code defines disadvantaged communities. It seems
6 to require tracking of program participants by zip code and
7 then reporting that to the Energy Commission so that we can
8 in turn aggregate it and report to the legislature.

9 We had a few discussions with selected utilities
10 about this, and at least some seem to think that they can
11 readily report savings segregated into, you know, certain
12 zip codes and others that are not. So this may be something
13 that is a slight burden on some utilities and others may
14 have to do more work to get there.

15 Because the first reporting cycle of November 2019
16 is not all that far away, staff would like improved
17 information from the larger of the POU's as soon as next
18 spring, and so this is a pretty tight time frame. We're
19 anticipating this is one of those collaborative efforts that
20 we need to be putting into place starting this fall and not
21 waiting perhaps even until the whole SB 350 report is
22 completed. Eventually we may need some regulations to spell
23 out these kind of requirements, but we can't move
24 regulations that fast in the Energy Commission world. So
25 we're going to have to have some kind of collaborative

1 effort initially.

2 And that's all I have. Are there any questions?

3 Mr. Changus is back.

4 MR. CHANGUS: Jonathan Changus, Northern
5 California Power Agency. I think just a logistical issue
6 for considerations at the March 2018 report is going to be
7 on programs that are concluding at the end of this month
8 from many of the POUs. So getting a reporting mechanism in
9 place to capture additional data on things that have already
10 been completed is going to be a challenge unless they were
11 preexisting for many POUs. So we can talk more about that
12 and see what we can offer in the interim. 2019 is a more --
13 a more plausible one for a broader array of the POUs, and
14 then just with regards to fuel substitution, I think there's
15 a number of outstanding questions with regards to Title 24
16 and how it treats fuel substitution that may be inhibiting
17 POU interests because I would say there are number of POUs
18 that would like to move forward on that sooner rather than
19 later. So very much would like the opportunity to work
20 through some of those issues, agree that they can be
21 addressed at a later time, but I do think there are folks
22 who would like to move on that if we can address the codes
23 and standards piece as well.

24 MR. JASKE: Just a quick response. I do recall
25 you raising the building standards issue at a WebEx we had a

1 couple of months ago. I think it would be very helpful to
2 receive a description of that issue or those issues, you
3 know, as part of comments so that we can have something to
4 share with management, Commissioner Rowe. So I encourage
5 you to do that.

6 MR. CHANGUS: Yeah. I believe there were a number
7 of POUs that actually submitted comments on that issue and
8 some other stakeholders as well that have been in support of
9 fuel substitution on that piece, and so we can definitely
10 pull those together and resubmit once this -- here as well.

11 MS. BROOK: Yeah, if you think you've already put
12 something in the docket, just point us to that. I do
13 remember lots of fuel -- but if you could articulate, I
14 mean, if there's any additional information needed, then
15 absolutely.

16 MR. CHANGUS: I'm not a wizard at Office, but I
17 cut and paste with the best of them.

18 MR. NIFROMENA: Hi, Luke -- Luke Nifromena
19 (phonetic), with PG&E. Thanks for the presentation. I just
20 had a question. You mentioned it sounded like forthcoming
21 CVC research. Are they going to be doing research on fuel
22 substitution? Is that part of the BS 350 goal setting
23 process or is that a separate effort, and when would we
24 expect to see something?

25 MR. JASKE: I think we're anticipating a process

1 that sort of lays out a number of specific issues, and one
2 way I thought about doing that that might be very helpful is
3 create some illustrative case studies of particular kinds of
4 programs with specific, you know, end uses and measures so
5 that we can, you know, grapple with the quantitative, you
6 know, process and where analytic improvement is necessary to
7 chase this down. So that's -- I think we're anticipating
8 not doing research in the sense of something independent but
9 some kind of collaborative effort with interested parties.

10 MS. BROOK: And this is Martha Brook. And just
11 stay tuned, because we will also be talking about fuel
12 substitution in the non-utility section of today's agenda,
13 and it could be that Mike's -- Mike's suggestion is sort of
14 applied to staff's work, right. So we are making initial
15 estimates of the potential for fuel substitution, but
16 they're going to be at first high level, and so ongoing we
17 want to refine and collaborate with you, especially the --
18 you know, the balance between the gas and electric utility
19 and who gets to count what and what's the right approach.
20 We're going to be working at it for quite a while.

21 All right.

22 MR. NIFROMENA: Okay.

23 MS. BROOK: Does that make sense?

24 MR. NIFROMENA: All right. And so would this be
25 part of the final report I guess that's submitted for the SB

1 350 target setting or is this --

2 MS. BROOK: Yeah. So today we will talk about
3 fuel substitution. So, again -- so Mike's just kind of
4 queuing up some initial issues that we're going to likely
5 need your help with.

6 MR. NIFROMENA: Okay. Sounds good. Thanks.

7 MR. BARTHOLOMEW: Hi. Obadiah Bartholomew, just a
8 quick question on the fuel switching comments you were
9 making in allusion to transportation as being excluded, and
10 I was curious actually about stationary applications that
11 were non-regulated fuels or non-utility fuels. So diesel
12 generators that could be electrified for agricultural or
13 industrial mining type applications. Focus on your fuel
14 switching --

15 MR. JASKE: I think the issue is PRC 25310(a). At
16 least the way I understand it -- our legal staff has looked
17 at it -- there is explicit reference to electricity
18 replacing natural gas, and so it does not mention any other
19 fuels, propane, transportation, you know, fuels. So that
20 was the basis for the framework paper saying that
21 transportation electrification or other fuel substitution
22 outside of gas to electricity doesn't qualify in the sense
23 of satisfying targets established through this SB 350
24 process. It doesn't mean those might not be meritorious
25 thing to be done, but not done in the context with

1 satisfying SB 350.

2 MR. BARTHOLOMEW: Thanks.

3 MR. TOTH: Good morning. My name is Phil Toth,
4 Southern California Edison, and I have a few clarifying
5 questions.

6 Mike, in a previous presentation you had -- and I
7 want to clarify, this is an illustration chart, and it has
8 three basic sections. It had an IOU/POU section, and then
9 it had a doubling section, and then it had an unknown
10 section up here, and then I hear from Paula -- good job
11 presenting that -- about 2X -- about what 2X means, and it
12 is strictly a doubling of 2014 AEE. But in the chart, the
13 illustration that you showed -- I want to be careful because
14 that is what it was -- it had more than 2X built into that
15 chart, and so I'd like to clarify that it is 2X of AEE 2014
16 numbers, not the 2015 update, and I think part of this has
17 -- of your presentation here was that unknown part and where
18 it's coming from.

19 So if you could please clarify the -- you know,
20 what 2X means and in comparison to your chart, I'd
21 appreciate it, Mike.

22 MR. JASKE: So the simplest way to respond to this
23 question is to separate the 2X statewide goal from targets.

24 The 2X statewide goal, I'll say it this way, and policy
25 people may choose to express it another way, is an

1 aspirational goal. No entity is going to be asked to double
2 their contribution to how it is we satisfy that goal. So in
3 the terminology I believe that was used in the framework
4 paper and those diagrams, there was a goal at the top of
5 that chart which was not quite doubled, and Martha has
6 explained this morning that we are going to exactly double
7 AAEE, and we're not going to adjust it or trend it down out
8 years. And then there's a whole series of wedges that, you
9 know, sort of moved up toward -- or stacked up and, as you
10 are suggesting, there was a big chunk at the top where the
11 sum of all those wedges didn't meet the aspirational goal
12 and, therefore, it was unknown how it is that aspirational
13 goal could be satisfied.

14 So what we're doing in this cycle is essentially
15 starting from the analyses that have been put forward by the
16 two traditional energy efficiency potential studies,
17 tweaking them a little bit to avoid double counting, and
18 then introducing a series of independent analyses that are
19 very first generational that our energy efficiency division
20 staff and their consultant are going to be doing over -- and
21 Bryan will explain later today where they are in that
22 effort. When we next draw that kind of a chart, it may well
23 continue to show, you know, an unknown zone that we can't
24 identify how to accomplish the aspirational goal, but many
25 of those new wedges will be pretty conceptual with the

1 magnitudes not very firm and the exact delivery mechanism
2 that would actually cause that to happen pretty rough and
3 not yet linked to an entity that in the framework paper we
4 refer to as a responsible entity. So, namely, some program
5 delivery agent who is actually going to be carrying out an
6 effort to accomplish that particular little wedge.

7 Now, and, therefore, all of that I think
8 translates into what we're saying more plainly perhaps today
9 than we did in January is this SB 350 effort is going to be
10 repeated over and over again, every two years maybe, every
11 four years. The top aspirational goal line will get adopted
12 once and for all because of the way we now are interpreting
13 the statute, but all of the savings that are the wedges that
14 come from individual entities will be re -- reviewed and
15 reassessed periodically as -- and some things will move from
16 speculative conceptual into, you know, a more firm status,
17 and eventually we may actually have new entities other than
18 utilities who are actually thought of as responsible for
19 delivering on some kind of projected savings.

20 MR. TOTH: Thank you, Mike. I think you're right.

21 I think the utilities by 2030 need to have 60 percent third
22 party delivery so there will be other people delivering some
23 of these EE measures that you're talking about.

24 I was pleasantly surprised to hear since AAEE has
25 both codes and standards embedded in it as well as EE

1 savings, that the code and standards savings were going to
2 be separated out, pleasantly surprised. I appreciate that.

3 And I believe and how the EE potential study works
4 -- and correct me, Paula, that any -- not any -- the assumed
5 increases in codes and standards are removed from the EE
6 potential part for above code savings, and so when they go
7 forward, it's not we're just removing codes and standards,
8 but they're -- the two sides of the equation are being
9 bounced because they're also removed from the EE potential
10 savings. Is this correct?

11 MS. GRUENDLING: It's -- it's not that -- I think
12 that we are -- there's just a limitation of the scope of the
13 potential end goals in quantifying codes and standards. So,
14 if I understood your question correctly, so a portion of it
15 is going to be Navigant modeled as part of the potential end
16 goals, and then whatever goes beyond what Navigant modeled
17 is going to be modeled by (indiscernible 11:13:35) and
18 NORESO, and then you just add the two of them, and that's
19 going to be the codes and standards contribution wedged for
20 -- for the -- with the codes and standards wedge for the SB
21 350 targets.

22 In terms of utility goals, the codes and standards
23 goals have always been separate from the utility goals. So
24 they are -- you know, even though they've been modeled using
25 the same -- not even the same model, but the same

1 contractor, they're separate. I don't know if I answered
2 your question. Maybe I didn't understand your question.

3 MR. TOTH: No. You understand just fine. It was
4 -- there's kind of three-prong. There's going to be
5 proposed -- or thought of adoptions of codes and standards
6 moving forward, and then there's going to be the codes and
7 standards advocacy work which you've referred to, and then
8 there's going to be the program piece, correct? And so the
9 question then is so part of it's the CEC adoption and the
10 Code and estimating when and what's going to be adopted in
11 the Code in the future, and then the codes and standards
12 advocacy piece and then a program. So the question that I
13 had was more specific, and you did a great job of defining
14 it, and that would be is the codes and standards advocacy
15 piece going to be still part and parcel of the goals or is
16 -- or is it going to be the EE programs? So I guess the
17 question is we're taking out the adopted goals from -- the
18 CUC adopted goals, and then we have an advocacy part for
19 codes and standards and the EE program part.

20 So in this doubling are we talking just the EE
21 program part is going to be part of the doubling? I'm not
22 sure who should get this question.

23 MR. JASKE: I don't think that we would link
24 either of those program specific analyses to doubling.
25 Doubling only applies to establishing the aspirational goal.

1 Nothing that is one of the wedges I referred to that you
2 first introduced in your question is necessarily going to be
3 doubled. We have a stacking of a whole series of separate
4 programmatic efforts, some utility program, some standard
5 savings, PACE financing, you know, type programs and other
6 things that are all collectively moving us up toward that
7 aspirational doubling goal but no -- none of those existing
8 wedges necessarily is going to be doubled as part of this
9 process.

10 MR. TOTH: Great. Thank you for the
11 clarification.

12 And I want to be clear. Edison does support the
13 350 process and doing what we can to doubling under the
14 existing process. So my questions I don't want to be
15 construed in any other kind of way. It's more -- my
16 questions are more clarifying in my mind's eye what's going
17 on.

18 My last question -- thank you for putting up with
19 me -- had to do with stranded efficiency and in my mind's
20 eye, it could be one of a couple of things. It could be the
21 below code stuff. It could be the difference between
22 economic potential and -- and achievable potential. So it
23 could be many different things. I was wondering if somebody
24 could clarify what is meant by stranded potential?

25 MS. GRUENDLING: The way we define stranded

1 potential in the potential end goals is any savings that
2 were not -- savings from equipment that was not turning over
3 because our policies for existing divisions baseline was a
4 little bit more restrictive than now with AB 802. So we are
5 looking at potential savings from equipment or buildings
6 that now can be incented to code that perhaps were not as
7 broadly incented before.

8 MR. TOTH: That's 802 related?

9 MS. GRUENDLING: Yeah.

10 MR. TOTH: Perfect.

11 MS. GRUENDLING: That's 802.

12 MR. TOTH: Thank you for clarifying. I appreciate
13 that. Sorry for rambling on. Thank you.

14 MR. KELLY: This is Steven Kelly with the
15 Independent Energy Producers Association, and, Mike, you
16 might have just answered this. I'm not really certain, but
17 I understand by statute the need to set what are kind of
18 identified as aggressive goals in energy efficiency, and
19 that's fine. The question I've always had is what's the
20 relationship between this target setting and, for example,
21 your demand forecasts which drive procurement in a lot of
22 other different spheres? You might have just answered this,
23 but could you walk me through how what you're doing here is
24 going to affect the demand forecast?

25 MR. JASKE: Well, just to put things in context

1 maybe for other folks -- I think you understand this -- we
2 have a two-part process at the Energy Commission. We have
3 -- we're dealing with the forecast. We have a baseline
4 forecast that has a somewhat conservative criteria for
5 energy efficiency savings that are included in that
6 forecast. Then we have an adjustment to that that we have
7 called AAEE over a number of IEPR cycles, and that AAEE
8 analysis is intended to reflect additional savings that
9 should be taken into account in resource planning processes,
10 transmission reliability studies, you know, whatever, and in
11 -- initially in the context of responding to a legislative
12 inquiry about coordination among the Energy Commission, PUC,
13 and ISO, we established this terminology of a single
14 forecast, and the -- all of the Energy -- all of the
15 agencies were going to use that for planning purposes, and
16 we have since refined that to clarify that there are
17 specific combinations of Energy Commission forecasts and
18 AAEE that are to be used in PUC resource planning and in ISO
19 reliability studies. Now we have a single forecast set.

20 So the idea of AAEE is still there. It's related to
21 but different than this discussion we've been having about
22 aspirational goals and wedges. What will presumably happen
23 over time is as we become more comfortable with additional
24 wedges and their sort of conversion or -- no, evolution
25 might be a better word -- evolution from a concept and an

1 initial quantification to an actual program delivery agent
2 and a real programmatic effort and some more rigorous
3 estimate of the savings, those things may eventually become
4 part of AAEE used in -- to effect resource planning, but
5 that's not where we are yet, and we haven't really even
6 begun to have that discussion with PUC and the ISO.

7 MR. KELLY: Okay. So just to follow up, so the
8 aspirational targets or the targets, the SB 350 EE targets,
9 do not become the targets per se in any one of the scenarios
10 that you're going to be doing in like IRP planning or the
11 demand forecast, the achievable?

12 MR. JASKE: I think we're going to try to shift
13 terminology here so that the top line, the doubling we're
14 going to call a goal, and then targets are the estimated
15 savings from the specific programmatic efforts of -- and
16 maybe we'll keep using this terminology of responsible
17 entities that surfaced in the framework paper, and only
18 those things are -- or even some subset of those things will
19 we consider part of AAEE and, therefore, be used in resource
20 planning and reliability studies.

21 MR. KELLY: Thanks.

22 MR. D'ANG: Hi, Mike. Paul D'Ang (phonetic),
23 Southern California Gas Company. I had a question on -- I
24 guess more on fuel substitution. In the framework it
25 indicated fuel substitution as substitution between the

1 regulated fuels. Is the CEC considering the case for the
2 substitution between -- from electricity to natural gas in
3 the analysis for fuel substitution? I guess that would be
4 where I guess if the overall GHG -- if there's overall GHG
5 reductions, would that -- would that case --

6 MR. JASKE: I don't -- I think that that's -- such
7 a thing could satisfy the statutory language if it had both
8 site energy savings and source GHG emission reduction.

9 MR. D'ANG: I think that may answer my second
10 question, but if -- so if there is and you realized energy
11 savings reductions from that other case, then that would
12 count toward goals or efforts towards SB 350?

13 MR. JASKE: Well, I don't want to say --

14 MR. D'ANG: Or was --

15 MR. JASKE: -- yes or no today because what we're
16 proposing is, you know, an effort to study this issue going
17 forward. So that's a -- what you're bringing up is an
18 expansion of the set of things that we would need to look
19 into on a going forward basis, before the Energy Commission
20 makes any kind of a final "determination" about what set of
21 things actually satisfies SB 350 requirements, which I don't
22 -- will not happen in this cycle. It would be, you know,
23 over the course of the next couple of years or so.

24 MR. D'ANG: Thank you.

25 MS. BROOK: This is Martha Brook, Energy

1 Commission. I would say, though, this is a staff workshop
2 on the methodology for the SB 350, and if you -- if you see
3 that there's technologies or sectors or approaches that
4 we're missing, like then please, please, please put it in
5 the docket because likely we don't know. It's not that we
6 -- it's not in the scope. It's that we don't know what
7 these technologies are that save GHG and site energy and
8 move from electricity to gas. So we would like your help
9 with that.

10 MR. D'ANG: Thank you. Well, anything that we do
11 come up with or anything that we have, we'll put that in
12 written comments.

13 MS. BROOK: Great. Thank you.

14 MR. D'ANG: Thank you.

15 MR. JASKE: Right. And just to reiterate what
16 Martha is saying, we do anticipate that the final Commission
17 -- well, the draft Commission report will come out at the
18 end of August, and the final Commission report will give
19 some direction to staff to look into CVR and fuel
20 substitution and so forth. So to the extent that we want
21 that direction to be broad enough to encompass everything
22 that, you know, is a real contender, you should give us
23 comments along those lines now so that we can fold that into
24 the draft and final report.

25 Anything else? Thank you.

1 MS. GRUENDLING: This is Paula Gruending. Just
2 one thing. For people who want to participate on the
3 meeting tomorrow, I think that I forgot before. Sorry about
4 that. The best way to get information is to go to the CPUC
5 website and check the daily calendar. It's on the home page
6 on the right-hand side. You just click on that link, and
7 it's going to have the list of all the meetings, and then
8 you have, you know, remote participation and address and all
9 the details there as well.

10 MR. EARLY: Thank you, Paula, and than you, Mike.
11 And I think we have one question on -- on WebEx. George,
12 go ahead and speak.

13 MR. NESBIT: Hello?

14 MR. EARLY: Yes. You're on.

15 MR. NESBIT: I was hearing lots of beeping.
16 George Nesbit (phonetic) hertz rater as well as building
17 contractor.

18 On the issue of fuel switching, you mentioned
19 having to have both site energy savings as well as source
20 greenhouse gas emission savings. Now, in site energy, does
21 that mean you're considering essentially that one them of
22 gas is like 29 something kilowatt hours, in that sense, and
23 what or where are values for source greenhouse gas
24 emissions? Now, natural gas, obviously it has an emissions,
25 but the electric grid varies depending on the source of the

1 electricity, and we have goals that are increasing in the
2 renewable content, and then I probably have some follow-up
3 questions based on what you say -- or in any case anyway.

4 MR. JASKE: Just to clarify, I believe you're
5 talking about recall fuel substitution, not fuel switching.

6 I'll try to use the right -- the terminology that we are so
7 that we are communicating.

8 Yes, on a BTU basis, whatever is being substituted
9 for has to be lower than -- or the -- the replacement
10 technology has to be less BTU energy at site than that being
11 replaced, and we do not have a specific GHG shorthand to
12 offer to you at this point. What we have is that shorthand
13 description of the process that was on one of my slides, and
14 we think that that probably will take a considerable effort
15 if we want to try to reduce it to a more simplistic thing
16 that -- hertz rating or any other kind of program delivery
17 agent can actually use, you know, in the field. So we're
18 not anywhere near yet having a specific citation to give to
19 you.

20 MR. NESBIT: Okay. So it would seem to me that
21 even if a fuel swapping -- is that -- is that what you
22 wanted me to say, fuel swapping?

23 MR. JASKE: Fuel substitution, fuel substitution.

24 MR. NESBIT: Fuel substitution. So if I'm
25 switching from a natural gas furnace to a heat pump, while

1 it's -- it would be possible there is an increase in site
2 energy, depending on what the value of the source energy
3 greenhouse gas is for electricity, I've certainly seen
4 information already and it's quite likely with where we're
5 headed that we would have a reduced source of energy
6 greenhouse gases, and that's what we're ultimately concerned
7 about. You know, I mean, I've seen some figures from Cal
8 ISO year to year, month to month, but what we really do
9 need, one of the things we need for our Energy Code would be
10 an hourly source energy greenhouse gas table like we have
11 the time dependent value which we used for the Energy Code.

12 It also seems that switching from propane to electricity
13 has to be considered. It certainly -- in the Energy Code,
14 propane, natural gas, and electricity are really the only
15 recognized fuel resources, and for most -- for a lot of
16 people, going from a propane say furnace or appliance to
17 especially a heat pump or a water heater is going to have
18 cost savings. So -- and then I guess in the Energy Code,
19 because we use time dependent value, which I will call
20 essentially an hourly time reduced rate, switching from
21 natural gas to electricity tends to be a penalty, yet from a
22 greenhouse gas, it might actually be -- it's actually
23 probably a better route for us to go.

24 So it seems like we need an hourly greenhouse gas
25 metric to look at things and reevaluate, and that's what

1 we're ultimately after.

2 MR. JASKE: I believe the method that the staff is
3 proposing at the conceptual level will clearly involve AB
4 760 analysis. How it will be packaged into some or
5 simplified to implementation remains to be seen. I don't
6 think that we believe that propane counts. No matter how
7 desirable you might think that is, it's not explicitly in
8 the legislation. So if you're desirous of propane to
9 electricity fuel substitution, the statutory change will be
10 necessary.

11 MR. EARLY: Okay. Christine Tam, we're unmuting
12 your line if you have a question.

13 MS. TAM: Hello. Can you hear me?

14 MR. EARLY: Yes, we can. Go ahead.

15 MS. TAM: Thank you. Hi. This is Christine Tam
16 with City of Palo Alto Facilities. Thank you so much for
17 this presentation. I have a question to Mike regarding that
18 slide with a number of questions regarding further studies
19 related to fuel substitution. This is the question
20 regarding whether there will be such energy savings that
21 depends on the actual heat pump performance and what
22 baseline should be used to determine the savings.

23 I think if we're talking about water heating in
24 particular, switching from gas water heater to a heat pump
25 water heater, currently the CEC already has a prescriptive

1 pass for replacing gas water heater to heat pump water
2 heater, and that's based on the Title 24 TDB methodology
3 which actually -- actually is more bias towards gas
4 appliances because of the way that it's restructured, and
5 even with that bias to or favoring natural gas appliances,
6 is still -- is still -- they're still saving from a cost
7 basis for heat pump water heaters, assuming that there is
8 some minimum energy factor that the heat pump water heater
9 is -- is met.

10 So I -- I think the heat pump performance issue
11 shouldn't be that big of a question. Clearly, depending on
12 the climate zone, there are energy savings already
13 demonstrated in the Title 24 proceeding, and if we're
14 looking at just the site energy savings, we don't need to go
15 with the very esoteric TB methodology.

16 And my follow-up question is because there are
17 still so many questions that was raised in Mike Jaske's
18 slide, I would like to find out what -- what the study --
19 what the steps -- next steps are and what the time line
20 would be. In the case of Palo Alto, we are very keen on
21 moving forward with electrification pilots and hopefully
22 expanding the pilots to full programs, but we also want to
23 know if we can cap those gas savings in our report -- energy
24 efficient target report.

25 MS. TAM: Ms. Tam, I think the best way for you to

1 move this ball forward is to provide some comments on June
2 30th along these lines. We will try to see how those
3 comments match up with the draft of our staff papers that
4 are going to be released maybe about two weeks after that
5 date, so middle of July or so. So if it's possible there's
6 something that you can react to in yours or other folks
7 comments at that very last tail end of the approval of these
8 forthcoming papers, if it's not then sufficiently spelled
9 out for you, you should be commenting on those papers, which
10 I think is sometime in early August. I don't know that
11 specific date, but it will be announced, and then further
12 clarification could be spelled out in the draft Commission
13 report which is supposed to come out at the end of August.

14 So that's probably the best way or this -- the
15 specifics of how to go about this fuel substitution effort
16 to get spelled out over the course of the next couple of
17 months.

18 MS. TAM: Okay. Thank you.

19 MR. JASKE: You're welcome.

20 MR. EARLY: And did George Nesbit raise his hand
21 again? Can we unmute George's line and see if there's
22 another question? George, do you have a follow-up question?
23 No. All right.

24 MR. NESBIT: Not -- I tried to put it down, but I
25 don't think it let me.

1 MR. EARLY: Okay. All right. Your hand is down.
2 Thank everyone.

3 So I think up next we have Elena Giyenko with EAD.

4 MS. GIYENKO: Good afternoon, everyone. I'm Elena
5 Giyenko, Energy Commission specialist in the Assessments
6 Division Demand Analysis Office. And, again, as you
7 mentioned, as many previous presenters mentioned, please
8 submit your comments in IEPR -- 17 IEPR 06 on the POU target
9 setting process.

10 There are three main objectives of POU target
11 setting discussion, and they are listed on the slide. The
12 first one is providing an overview of how legislative
13 direction has changed over time. I'm also going to be
14 summarizing the results of the simulated Navigant potential
15 study that was submitted in March. And, finally, I'm going
16 to be discussing the adjustments to POU electricity savings
17 projections for SB 350 purposes.

18 As many of you are aware, this is the third
19 workshop on the subject matter, and according to the -- the
20 framework paper that was released as a result of January
21 23rd workshop, I believe there are going to be at least one
22 more workshop before the adoption of the targets at the
23 business meeting in November.

24 As a result of previous workshops, the Energy
25 Commission received many stakeholder comments that

1 identified two main concerns related to the interpretation
2 of the legislative direction applicable to POU savings
3 targets and the approach to doubling.

4 On one hand there is a concern that it would be
5 unreasonable to require POU's to double their board approved
6 targets because the approval lies on the shoulders of their
7 boards, and on the second hand, the paper concluded that all
8 utilities do more to achieve the statewide goal of doubling,
9 and there's going to be, you know, businesses -- the
10 legislative direction would not be accomplished.

11 So the issue of POU targets is very complicated,
12 and, as many of you know, there is a legislative history on
13 that. Basically there are two bills that -- previous bills
14 that established the state board -- statewide targets. The
15 first one, AB 2021, which was enacted into law in 2006 I
16 believe by Schwarzenegger, and the bill states that all load
17 serving entities will need to procure cost effective energy
18 efficiency measures so the state can achieve the goal of
19 total forecast electrical consumption by 10 percent over the
20 next 10 years.

21 The second law, which is only applied to POU's, was
22 enacted into law in 2013. It was AB 2027, amended POU
23 target cycle to align more closely with the IEPR time line
24 and consolidated the reporting requirements into a single
25 section of the Public Utility Codes, making compliance

1 easier for the POUs.

2 I would also like to mention that AB 2021 actually
3 established the previously mentioned Public Utilities Code
4 to 5310 that we discussed extensively today. So SB 350
5 changed the -- you know, added additional requirements for
6 the -- all entities, including the implementation mechanism
7 that Mike Jaske mentioned in Section (d) of Public Utilities
8 Code 25310.

9 So this Section (d) nonrestrictively identified 11
10 implementation mechanisms to achieve statewide doubling.
11 Mike mentioned the CVR and fuel substitution. There's IOU
12 programs, and, of course, there are programs for the POUs
13 contribution that is listed here, and it says that programs
14 of local publically owned utilities -- electrical utilities
15 that will need to provide -- that are providing financial
16 incentives, rebates, technical assistance and support to
17 their customers to increase energy efficiency pursuant to
18 Section 385.

19 So Section 385 is also known as public benefit
20 charge in the POU world. There's similar section in -- for
21 the IOU, and if you're -- it originated in 1996 and can be
22 found in the Public Utility Code Article 8 for the POUs and
23 it was Article 7 for the IOUs.

24 There are four buckets on how public benefit
25 charge is distributed in POU programs, one of them being

1 cost effective demand site management services to promote
2 energy efficiency and energy conservation. Another one is
3 investments in renewable energy resources. The third one is
4 research development and demonstration projects, and,
5 finally, rate assistance for services provided for local low
6 income electricity customers.

7 Unlike CPUC and IOU requirements, there's -- there
8 was no updates to the POU public benefit program. There is
9 no, you know, funding calculations, lower amounts or time
10 lines. It's basically the POU prerogative to how they
11 distribute their -- rate their collective money among those
12 four buckets.

13 POU electricity savings programs are very similar
14 to the IOUs incentives. POU customers receive cash rebates
15 for efficient products, home building energy operates, loans
16 and financing incentives and also educational and awareness
17 advice.

18 POU programs are also similar to IOU
19 programs, can aim at individual customers in power purchase
20 transactions, but in case of larger POU's like SMUD and
21 LADWP, they can be directed further upstream in larger
22 customer market supply chains and encourage manufacturers,
23 retailers, and contractors, builders, of course, to
24 influence how customers choose building designs, operating
25 methods and buy home appliances.

1 So this is for my first objective. This is the
2 second objective of my presentation that -- I apologize for
3 this chart being not as -- the font of these words are not
4 as visible. So I will try my best to describe that.

5 This is a conceptual POU electricity resource
6 assessment model. (indiscernible 11:47:04) provided the
7 results of this model in March, and ELRAM estimates
8 electricity savings and demand reduction projection as a
9 function of projected electricity sales, and, as you can
10 see, it's at the -- on the top of this -- of this chart.
11 Then energy efficiency technology applied to that, and they
12 -- they come up with the technical potential.

13 Technical potential drives this technology --
14 energy efficiency technology characteristics based on the
15 DEER database or in case of POU's, TRM, also known as -- the
16 words escape my mind -- Technical Resource Manual.
17 Technical potential is the highest potential, and I believe
18 Paula also covered the consumption part of it. So then it
19 is considered to be all measures of efficiencies that can be
20 applied to the base line end use consumption.

21 Economic potential is a smaller potential because
22 it -- based on the cost effectiveness screening, and there
23 are a number of tests that utilities perform. In California
24 there is a Standard Practice Manual that many utilities use
25 to assess economic potential.

1 The next step would be maximum market potential
2 where all the market feasibility and customer choices are
3 counted. So that's why the maximum potential is the
4 smallest potential. Market potential also can be divided on
5 the gross and net potential, and the differences are there,
6 and I will be discussing them later.

7 I would like to also mention that, as you know,
8 Navigant assisted CPUC to do the IU potential. Navigant
9 also assisted CMUA and NCPA SCAPA members with POU potential
10 study.

11 This slide shows the results of the 2018 2027 POU
12 cumulative savings. I apologize again for the small font,
13 but I -- I will try my best to explain it. As you can see,
14 the cumulative projected savings in 2027 is right there,
15 above 30,000 gigawatt hours. Economic potential is smaller.

16 It's slightly above 25,000 gigawatt hours, and the market
17 potential is -- is two lines of gross and net. They are
18 slightly close to 6,000 gigawatts savings.

19 So historically, technical potential is, you know,
20 the highest potential. Economic potential is roughly about
21 80 percent. This time around, for POU's economic potential
22 was 84 percent of technical potential, and market potential
23 is slightly -- less than a quarter of economic potential.

24 So this slide informs the targets for the POU's
25 and, you know, POU's boards to adopt. What this slide

1 doesn't show is codes and standards projections. Navigant
2 did come up with the codes and standards projections for
3 individual POU's. However, the methodology was different,
4 and even though the numbers are provided, they were not part
5 of deciding is it going to be a part of the market potential
6 or not.

7 Also there is -- I'm not sure if POU's run -- or at
8 least they are not reporting on the results of codes and
9 standards advocacy programs. But that does not mean that
10 POU's do not use the projections from codes and standards.
11 And, as you -- as I'm going to show later, some POU's decided
12 to combine their codes and standards potential with their
13 either gross market or net market to come up with higher
14 targets. So this slide shows POU 10-year cumulative
15 targets, and the three lines -- this chart shows POU
16 cumulative targets grouped by POU size. The green line,
17 this combined SMUD and LADWP targets which are the highest.
18 The red line is midsize POU's, and this almost -- really
19 hard to see it -- blue line, the smallest POU's, but the
20 number of smallest POU's who did the potential study is about
21 25 of them. So that gives us a perspective of how much
22 smaller POU's can achieve in regards to the targets.

23 Again, in 2027, the projection of POU's targets are
24 very close to 8,000 gigawatt hours. It is bigger than their
25 market -- gross market potential because of some POU's

1 decided to combine their market potential with codes and
2 standards projections.

3 So this is my third objective of this
4 presentation. Staff proposes basically three adjustments to
5 POU targets. First of all, the framework paper stated that
6 codes and standards should be non-utility target. Also
7 there are some POUs who decided to use gross savings, not
8 net savings, as the basis for their targets. And, finally,
9 there is sort of a lifespan of targets per SB 350
10 projections. So the savings years are 2015 through 2029.
11 The POU study was covering only 2018 through 2027.

12 Again, these are staff sort of recommendation and
13 potential for the adjustments. Any comments on how these
14 adjustments should be improved, please submit your comments
15 in the docket by June 30th.

16 So the first adjustment, the codes and standards
17 savings adjustment, as I mentioned, there are some POUs,
18 there are 10 of them who decided to use codes and standards
19 projections. Both the largest POUs, the LADWP and SMUD, use
20 codes and standards as part of their targets. That's why
21 their targets are higher. As I also mentioned, that the --
22 the attributable savings from POUs codes and standards
23 advocacy work is not reported directly to the Energy
24 Commission. However that, you know, can be improved in the
25 future. And also staff proposes to count codes and

1 standards savings as non-utility targets. So that's the
2 element of eliminating double counting.

3 Second adjustment is this net savings versus gross
4 savings, and this is a -- also has a really interesting
5 context historically. So POU's customers and, frankly, all
6 final end users can, you know, be participant or non-
7 participant of the program, energy efficiency savings
8 program, and in the past and still to some day some POU's
9 decide to use attribution theory to account for non-
10 participants in energy efficiency programs. The two main
11 concepts of this attribution theory is the concepts of free
12 ridership and spillover.

13 In summary, net program impacts include
14 adjustments for free ridership and spillover. It has
15 relevance in cost effectiveness assessments because
16 financial incentives paid to free riders cost if cost
17 effectiveness test exclude participant impacts, and there is
18 no benefit from free riders because they are not paying or
19 -- you know, to participate.

20 The concept of spillover means that participants
21 didn't participate directly. There is no cost, but there
22 are many benefits in all five standard practice manual
23 tests.

24 Individual POU decision to use gross or net
25 savings are mismatched. Navigant potential model provided

1 savings as -- on a gross and net basis. However, LADWP
2 Anaheim and City of Burbank gross and net savings are the
3 same. So we would need to -- we would need to have a gross
4 factor from these three entities to adjust for net savings.

5 I mean, there's other alternatives to use previous sort of
6 assessments of net to gross, and we can apply that too.

7 The final adjustment is this lifespan of targets.

8 POU's provided savings projections starting in 2018 and
9 ending in 2027. SB 350 uses 2015 as a start year for
10 doubling. POU actually report annually energy savings in
11 2015 and 2016 data is available. As far as estimates for
12 2017, they're not reported yet, but -- in the same format as
13 historic savings, but there are options on how to calculate
14 them. There are basically three options. One would be
15 assume the same performance as the past year or use goals
16 that were established in 2013 and just use the 2017 years as
17 approximate for savings that can occur in 2017 or the third
18 option can be a combination of both, sort of look at the
19 historic savings and the goal and come up with a number
20 which is reasonable to be included.

21 Again, this is a proposal. If there is a better
22 way to account for 2017 savings, I would like to hear your
23 comments and recommendations in the docket.

24 SB 350 requires doubling to occur by January 1st,
25 2030, and staff proposes a one-year extension of these last

1 two years, 2025 through 2027, to commute savings out through
2 the end of 2029. If savings are slowing later than the last
3 additional cumulative savings, it will be added in the final
4 years.

5 So this is -- this table is a snap of top 16 POU's
6 and which one needs to get their projections from the
7 Navigant study to be adjusted. So, as you can see, the --
8 the targets, for example, for LADWP was based on the market
9 gross potential and codes and standards projection.

10 This is a graphic showing what staff did to adjust
11 POU targets. This -- the blue line here that starts in 2018
12 and ends in 2027 shows POU proposed targets. I would like
13 to mention that some POU's boards have already adopted their
14 targets. Some are still waiting for adoption. The red line
15 that -- you know, that drops from the blue line shows the
16 adjustments for codes and standards, basically those 10 POU's
17 that I mentioned before who are not counting codes and
18 standards in those 10 POU's. And, finally, the green line
19 here -- not finally, but this is the third -- second step.
20 Gross adjustment, net adjustment from the gross potential.
21 The purple line over here is a final line that shows -- that
22 starts in 2015 and ends in 2030, shows all three adjustments
23 taking place. And, as you can see, there's, you know,
24 slightly drop from the POU targets, and the majority of this
25 drop comes from the largest -- two largest POU's, SMUD and

1 LADWP.

2 So this chart is showing incremental electricity
3 targets, also grouped by three, the largest, the medium
4 size, and the small ones. There's the -- dark red is -- are
5 the targets for the 25 smallest POU's in the state. This --
6 the pinkish color is the annual savings targets for the 14
7 midsize POU's who are part of the integrated resource group,
8 and the -- the majority of savings are in SMUD and LADWP
9 area.

10 Again, these targets, some POU's have adopted the
11 targets. Some POU's are in the process of adopting these
12 targets.

13 So this chart shows the -- what's going to happen
14 if staff decides to use these three adjustments. So the
15 years are 15 years starting in 2015, ending in 2030. There
16 is a drop roughly about 2,000 gigawatt hours, and, again,
17 it's because of the LADWP and SMUD, excluding those codes
18 and standards savings and adjusting for net.

19 So POU's will be revising their savings targets in
20 four years. Basically the Energy Commission expects the new
21 potential study in 2021. There's still discussion to be
22 held on -- you know, they're to use the existing baseline or
23 to code baseline as the benchmark for POU's programs, also
24 how to account for savings from POU advocacy in Title 24
25 building standards and how to quantify the impacts of local

1 (indiscernible 12:04:59) because there are some POUs that
2 are very progressive, and they actually have local codes
3 that are above the state or the federal level.

4 So I'd like to conclude that the Energy Commission
5 staff will continue collaborating with POUs to find
6 projections for using SB 350 energy efficiency contacts, and
7 I would like to answer any of your questions.

8 MR. GOETZ: Thank you, Elena. Brian Goetz,
9 Southern California Public Power Authority. A couple of
10 things. Your recommendation there at the end is
11 inconsistent or a little different than what was in Martha's
12 presentation when the first proposal was to use the 2013
13 forecast, and now we're -- I'm correct in assuming that you
14 are looking to use the 2017 forecast that we just did this
15 year. Is that correct?

16 MS. GIYENKO: So I --

17 MS. BROOK: Do you want me to start and then --

18 MS. GIYENKO: So I would like to restate again
19 that the framework paper was issued before the -- before
20 March '15. So there was no projections for beyond, you know,
21 2017 or, you know, the -- what the Navigant results were.
22 So -- and, again, we are looking for POUs as a
23 (indiscernible `12:06:38). So we're not necessarily, you
24 know, contradicting what the board's going to be adopting
25 for individual POUs. We're just looking how, you know, we

1 can achieve, you know, sort of the -- the number, the hard
2 line of the doubling of AAEE in 2014, you know, demand
3 forecast.

4 MR. GOETZ: Understood. So I just wanted to
5 confirm that in addition for the AAEE for the IOUs, now
6 instead of the 2013 forecasts, you're going to be moving to
7 the 2017 forecasts?

8 MS. BROOK: Right. So the difference is that that
9 top line, like Mike said earlier, we're establishing that in
10 our adoption of the SB 350, you know, targets as a non-
11 changing line, as the top goal. But absolutely when we're
12 building up the targets, the wedges that stack up to that
13 line, latest and greatest information, that's what we're
14 trying to -- trying to include there. There would be no
15 reason for us to go back and use a historical version of
16 what you've already updated in 2017.

17 MR. GOETZ: Understood. Thank you.

18 MS. BROOK: Okay.

19 MR. GOETZ: Regarding the net to gross issue, this
20 is probably going to be a theoretical or analytical
21 difference of opinion, but the utilities that are claiming
22 net and gross equally are of the -- basically of the
23 consideration that impacts on the grid from energy
24 efficiency, it doesn't matter if it was a free rider or if
25 it was spillover, ultimately, if there's energy efficiency

1 savings from a measure or a program, then that should be
2 attributed and accounted for. It doesn't matter why it's
3 happening. So you are correct that, you know, the use of
4 rate payer funds is an important consideration, but
5 ultimately the energy savings impact the grid, and they
6 benefit the utility. And so this is going to be a
7 consideration that we're going to have probably some pretty
8 big discussions because the two largest utilities in the POU
9 world are both taking that approach, and many of the mid
10 sized are also.

11 So we're going to need to consider this in the
12 long term very -- very closely I think.

13 MS. GIYENKO: Right. So just I would like to note
14 thank you for your comment, and, again, this is just, you
15 know, a proposal for the adjustment, and the reason for the
16 adjustment was that POUs targets are mismatched. So it was
17 decided that the IOUs will use net savings, as Paula
18 mentioned before.

19 So, again, POUs can do doubling or tripling of
20 their targets. That's fine. But for the statewide
21 purposes, we need to consider this cost effective, feasible,
22 and beneficial to the public health and safety sort of
23 screening, and that's why, you know, we're considering to
24 having all utility savings to be on a net basis.

25 MR. GOETZ: Understood. Thank you. And I don't

1 want to speak on -- go ahead.

2 MS. GIYENKO: And also Navigant actually
3 calculated net savings for pretty much all but three POU's,
4 and that's why we're -- you know, we were not coming up with
5 our own numbers for that. We used the Navigant study.

6 MR. GOETZ: Those three could be problematic to
7 come up with a number.

8 MS. GIYENKO: LADWP is the largest, and I do hope
9 that David Jacot will, you know, help us to figure this out.

10 MR. GOETZ: I'm not going to speak on David's
11 behalf thank you.

12 Last question or last comment that I would like to
13 bring up is codes and standards, and you need to recognize
14 that I understand why you're pointing out the codes and
15 standards, because that will be consistent across the POU's,
16 and that makes fully -- you know, good sense. I have got no
17 problem with that. However, there is a consideration that a
18 lot of people aren't considering with codes and standards is
19 that most of the POU's are enforcing codes and standards at
20 the local building level and, you know, code enforcement.
21 So even if not all the IOU's -- you know, you talked about
22 how you're going to attribute the -- or the crediting of
23 codes and standards for POU's, that is a strong consideration
24 that a lot of people don't take into effect, that the small
25 cities like the Biggs or the Bannings of the world, they

1 might not have a couple of extra hundred thousand dollars to
2 throw at paying for codes and standards studies. But, in
3 fact, they've got people on staff who are enforcing those
4 codes and standards every day of the year. So -- and that
5 has never been accounted for or attributed. And so that's
6 just another consideration that, you know, we'll include in
7 our comments going forward.

8 MS. GIYENKO: Yeah. That is fine. I would like
9 to mention that in CMUA March 15 reports, the codes and
10 standards savings were not part prior to 2013. So if there
11 are any -- if there are any specific programs or savings
12 that are actually occurring from codes and standards in POU
13 territory, it should be reported to the Energy Commission.

14 MR. GOETZ: Understood. Thank you.

15 MR. CHANGUS: Jonathan Changus, NCPA, recognizing
16 we're now eating into our own public power with the time,
17 just another explanation I guess on some of the codes and
18 standards, but is that unlike the IOUs that do fully fund
19 and invest in the codes and standards process, that's not
20 historically been the case for POUs. There's no obligation
21 on them to do so. LADWP and SMUD have spent some time.
22 There are additional utilities that are looking to engage
23 because codes and standards are going to be such a central
24 part of where savings are going to be derived from going
25 forward, and so that's part of the reason you haven't seen

1 as much in previous reports. That's changing. We have
2 started to call out in the annual report codes and standards
3 investments. We did not for the first time this year.
4 We're going to adjust that going forward so that it's just
5 not a single line item because there is a variety of
6 activities associated with codes and standards, including
7 I'd say the most common one is the reach codes and local
8 building codes that go beyond Title 24, and that is an area
9 where there have been a number of POUs over the years. So
10 we will continue to look forward to clarifying what that
11 role looks like because it is, as Brian noted, quite a bit
12 different in some instances than the IOUs.

13 MS. GIYENKO: Thank you.

14 Any more comments? All right.

15 MR. EARLY: Okay. Thank you. So next up we have
16 David Jacot from L.A.

17 MR. JACOT: Good morning everyone. I have also
18 brought Arman Sion (phonetic) of my engineering team who
19 will be adding some technical information as we get to some
20 of the slides.

21 So thank everyone. Thanks to the CEC for
22 graciously inviting us to share our perspective on what
23 we're doing with energy efficiency. Pretty wide ranging
24 presentation I've got. We had a great call, coordinating
25 call with Elena a couple of weeks ago to do some brain

1 storming on what she thought it would be beneficial for this
2 group to hear. So it might be a little bit scattershot, but
3 it covers a lot. So let's go ahead and get into it.

4 Very briefly, I'm going to put the perspective
5 around DWP's aggressive investment in energy efficiency,
6 been going on for about five years now. We have a lot going
7 on, a lot of -- we're getting off coal. It's still too much
8 of our power supply. Transportation electrification is
9 coming and potentially driving up load significantly, and
10 there's other things that are driving load and increased
11 consumption. With -- in the middle of that, trying to get
12 off of coal, obviously we're cutting out what's about a
13 third of our power supply. So we're going to make that up,
14 but natural gas is a bridge fuel. Renewables, of course, 50
15 percent by 2030. Senator DeLeon's pushing for 100 percent
16 by 2045. And so energy efficiency takes on heightened
17 importance in this -- in this type of environment because
18 there's a lot coming together at once in terms of driving
19 load, losing supply, and how we actually balance that
20 system.

21 We've been at it pretty much in earnest since
22 about 2012, 2013. We've had energy efficiency programs
23 since the '90s but with fluctuating levels of commitment,
24 but we really got serious back in around 2012, and we got a
25 10-year plan out through 2020 to achieve accumulative 15

1 percent in energy savings. That's about 3800 gigawatt
2 hours, approximately 37, 38 hundred gigawatt hours of load
3 that won't be present on the grid in 2020 that would have
4 been if it weren't for the energy efficiency programs,
5 because our annual retail is about 24,000 gigawatt hours.
6 So this just lays out -- we're trending now towards about
7 400 gigawatt hours a year in first year savings, and we've
8 got plenty of money budgeted. We haven't been spending all
9 of it. But as we increase the targets and we get away from
10 the low hanging fruit, we expect that the costs of obtaining
11 the savings, those incremental savings will go up.

12 Very quickly, non-energy benefits, so LA's making
13 this 100, 120, 150 million dollar a year investment in
14 energy efficiency, wants to see more than just reduced KWH
15 You know, KWH reductions and greenhouse gas reductions from
16 that investment. It's a local investment. So there's a lot
17 of local things, you know, public goods that aren't energy
18 benefits per se that come about from this as well. And so
19 we actually adopted guiding principles in 2012 along eight
20 dimensions, but basically they're having equitable customer
21 access. Everybody has something for them. They can do
22 energy efficiency, whether it's low income or high income,
23 residential, commercial, industrial, institutional, non-
24 profits, et cetera.

25 We also want to see this 120, 130 million dollar

1 local annual spend create skilled job opportunities for the
2 local workforce. Energy efficiency is labor intensive, more
3 so than capital intensive. So those dollars feed about 16
4 job years per million dollars that we invest, and we've done
5 a study on that. UCLA gave us that number back in 2014.
6 We're in the process of reengaging UCLA's Luskin School of
7 Public Policy to redo that study for 2017 using the actuals
8 of the last three years as well as new programs that we've
9 subsequently launched.

10 Transparency, always good in the public sector to
11 be transparent. We have -- and I'll talk more about this in
12 the subsequent slide. I'll probably let Arman talk about
13 it, but we have rate payer advocate. There's an Office of
14 Public Accountability. Within that, there's a rate payer
15 advocate who oversees everything the department does, one of
16 which is energy efficiency, and so we work very closely with
17 them on programs, the portfolio in general. We'll show you
18 a snapshot we do to report out the portfolio cost
19 effectiveness on an annual basis. So that's -- we're
20 committed to that process. And, finally, community capacity
21 building. We do a number of grants by council district and
22 at the city wide level as well to build a grass roots not
23 just support but knowledge and capacity to bring energy and
24 water efficiency into our customers' homes.

25 Okay. So this will be a little bit different than

1 what Elena was talking about. This is our take on gross
2 versus net and free ridership. It's phrased to be a bit
3 provocative. So you'll have to just expect that. But the
4 way we look at it, energy efficiency is a coequal resource
5 and integrated resource plan. There's a pie chart I don't
6 have on here that shows coal, natural gas, hydro,
7 geothermal, nuclear and energy efficiency, and energy
8 efficiency is a slice in that pie chart.

9 So from an integrated resource plan, you don't
10 really care if the customer would have done it anyway. You
11 don't really care about that whole free ridership
12 attribution. You do care, however, that you've looked at
13 the project and influenced it. Maybe you didn't influence
14 it through your rebate, you influenced it through your QC
15 process, and by putting it through the QC process, then you
16 can take those savings to the bank when it comes to an IRP
17 -- from an IRP standpoint. What matters to us most on the
18 whole gross versus net is that we can count on those
19 expected grid realized savings. That's gross, you know,
20 what we expect to realize on the grid.

21 Now, the one caveat is we also certainly want to
22 do the EMMV, which we do, to make sure those savings as
23 expected, grid realized savings are actually happening. So
24 we care very much about realization rate. We may not care
25 about net to gross, but we -- but we sure care about

1 realization rate, if we're really going to bank on energy
2 efficiency as a supply side resource.

3 So when it comes to free ridership and when you
4 look at it through that lens, we really don't care if the
5 customer would have done the project anyway. We do care
6 that the -- that the project is sufficiently likely to
7 achieve the expected energy savings such that we can count
8 it as a supply side resource, and the way we develop that
9 level of confidence is bringing those -- those projects
10 through our review. You know, it was a very intensive
11 review process that everybody who runs energy efficiency
12 programs does an upfront verification, what's the baseline,
13 what's being done, what are the expected savings, are they
14 reasonable, and then did the project get done as it was
15 presented, a very standard process for -- for that.

16 Now, you know, some programs you do 100 percent
17 field verification. Other programs you do a statistical
18 sample because the volume's too high, but regardless, you've
19 got a methodology that is put in place to assure that you're
20 getting what you're paying for and the customer is getting
21 what they're paying for and expecting in their energy
22 efficiency projects.

23 So in that scheme, I think of the rebate less as a
24 carrot to get the customer to do the project. So it's nice,
25 and that certainly happens, but that's less important, and

1 the rebate is more to get the customer to go through our QC
2 process. The rebate buys down the transaction costs of
3 participating in the program. The program's a pain in the
4 butt to participate in because we ask a bunch of questions,
5 and we need forms filled out and everything. The incentive
6 is to buy down that cost of participation, and then what we
7 get out of it is now we can bank on those savings in the
8 IRP.

9 MR. SION: Just a quick clarification on the net
10 aspect. For our evaluations, we still -- we still study what
11 the net savings would be as far as free ridership and
12 figuring out that free ridership ratio, but we use it for
13 mainly on purposes of improving the program, finding, you
14 know, better ways to market our programs, finding those hard
15 to reach customers and such and not focus on the
16 participants who would have done it anyway. So that's
17 primarily the reason why we have it, although we apply it
18 differently than -- rather than discounting the achievements
19 that we have, we would rather use it as a factor to figure
20 out where we could market our programs and improve them.

21 MR. JACOT: Yeah, there's the whole thing with
22 free ridership is obviously we don't want to continue to pay
23 for a transformed market. In our experience, we've seen
24 estimates of -- or estimations of transformed markets are
25 often wildly premature, and in the absence of programs or

1 codes and standards, things revert fairly quickly to the
2 non-optimal scenario. So it takes a long time to actually
3 truly transform a market, and it's usually through hard
4 codes and standards. Phasing out incandescents is a good
5 example.

6 This one's busy. I apologize, but we'll break it
7 down. We're very invested in codes and standards. We've
8 been on the codes and standards statewide team at the IOUs
9 for five years now. We get significant savings that we
10 report from codes and standards. I'm frankly surprised and
11 don't really understand why the CEC wants to take codes and
12 standards out of the reporting. So that's a conversation we
13 can have, especially since the IOUs continue to count the
14 codes and standards towards their goals. The CPUC -- CPUC
15 did a proceeding last year, and were an intervener through
16 -- through CMUA, but it was mostly our comments.

17 The early drafts, the proposed decision on the
18 IOUs wanted to take away codes and standards from counting
19 towards their goals, and the justification was, well, under
20 AB 802 you've got an existing equipment baseline now. So
21 codes and standards is all double dipping. We took a much
22 deeper dive into it. Arman's the guru on this one as well
23 as many other things, and we found the methodology to back
24 out the double counting that was occurring in incentive
25 programs so that we weren't double counting that, but we

1 were also able to show why conclusively that what was coming
2 through the incentive programs is only a small chunk of what
3 was actually being impacted by codes and standards. So we
4 were able to net out the program participation. And, of
5 course, we report the savings in the programs and back that
6 out of the codes and standards, which this is --

7 MR. SION: Right. So -- so the chart we have over
8 here is kind of demonstrating the portion that we had
9 estimated for codes and standards out of the potential
10 models, and essentially the methodology behind it was to
11 figure out what is that double counting program participant
12 side, you know, two-code savings. And essentially when we
13 go through that effort, we found out that for the years that
14 we started using existing condition baselines for our
15 programs, it only accounted for about seven percent of the
16 codes savings as far as that double counted part and that's
17 projected to double count up to 20 percent or so in the
18 coming years, and then we have a -- we have a gradual fall
19 off. So that blue line is actually demonstrating what the
20 gross savings are. The red line is the double counted part
21 from program participation, and the adjustment is the green
22 line basically showing what that adjustment looks like.

23 MR. JACOT: Yeah. So that's what we're actually
24 reporting for codes and standards is the green line.

25 MR. SION: And it's important to also mention that

1 the program participant volume is far less than what gets
2 impacted by code. So our participation size compared to the
3 overall market that gets impacted by code is extremely
4 small, and that's what this is kind of demonstrating
5 already.

6 MR. JACOT: Yeah. I mean, if we -- if our
7 programs are so wildly effective that every project that was
8 getting done was coming through our programs, then the red
9 line would be a lot bigger. You know, it might be half. It
10 might be so much we wouldn't even do the codes and
11 standards, but the truth of the matter is we don't do 20,000
12 projects a year, you know, or 50,000 projects a year. We do
13 5,000 projects.

14 MR. SION: And one other thing. This method was
15 actually applied to the last submittal we had for the
16 potential goals. So we did remove any potential double
17 count from program participation.

18 MR. JACOT: And our position -- I don't know if it
19 carried today, but apparently, you know, on the balance of
20 all the information that was provided in comments, the CPUC
21 reversed that element of the proposed decision to not let
22 the utilities count codes and standards savings. So we won
23 that one.

24 This one's going to be a little bit odds and ends,
25 but let's start with cost effectiveness screening. In

1 talking with Elena, she had some various things she wanted
2 us to cover. So we're going to do that.

3 For cost effectiveness screening at the portfolio
4 level, very important to note we -- we do our -- our cost
5 effectiveness portfolio level such that we have whole
6 programs that are not cost effective. They serve other
7 purposes. For example, those guiding principles in some
8 cases. We have a snapshot methodology we use here to track
9 the overall portfolio, where the dollars are getting spent
10 relative to the TRC. So, one -- you know, everything above
11 one is cost effective. Between one and .75 on the TRC is
12 marginally non-cost effective, and then everything below .75
13 is, you know, more cost -- more cost ineffective I should
14 say. And so on the right side is the budget and the spend,
15 and these are actuals, and it gets a little confusing. It's
16 a waterfall chart basically, but you can see that, you know,
17 we're spending half the portfolio here. So by the time we
18 get here, we've already spent half the portfolio above 1.0.

19 This actually goes all the way up to 10.

20 MR. SION: And important to mention that the red
21 and purple lines are actually projections and broken down to
22 the measure level basis of cost effectiveness, whereas the
23 green line is the actual based on programs and the mix of
24 measures.

25 MR. JACOT: Yeah. Yeah, and so let's look at the

1 actual then. You can see that, you know, we spent -- so
2 when you look at the actual line there, then you see that
3 \$66,000,000 is where we crossed. We spent the first
4 \$66,000,000 of the portfolio in totally cost effective
5 territory. We spent another \$3,000,000 in the marginally
6 cost ineffective, and then the last 11 -- or \$9,000,000 is
7 in the cost ineffective programs, and it's things like our
8 low income direct installs, weatherization program, and some
9 other programs that serve more of a non-energy benefic,
10 social -- social benefit than just aggressive cheap KWH.

11 We worked with our RPA, the Rate Payer Advocate,
12 to develop this and actually suggested this format. We ran
13 with it. We love it. It's a nice snapshot. Every year we
14 do this, and they're happy. They just want to see that
15 increment of growth in -- out in, you know, the pink is not
16 swamping the portfolio.

17 MR. SION: And it's a means of controlling, you
18 know, investment in the non-cost effective area, and their
19 main concern is in future projections it showed that there
20 was a lot of investment being made in that area, and they
21 want to mitigate that as much as possible. So it's a good
22 screenshot to take -- take a look at every year to see how
23 much are we investing in that end and make adjustments if we
24 need to.

25 MR. JACOT: Yeah. I mean, frankly, you know, the

1 city's political environment, a number of the programs that
2 are in the pink area have -- have strong advocacy from
3 certain constituencies, and so those programs aren't going
4 away, and every advocate gets that. I mean, we see this
5 even on the IOU side with some programs, but at the same
6 time we don't want them to grow unchecked and consume the
7 budget. So this is a tool to monitor that.

8 MR. SION: One thing we haven't shown over here
9 actually is for future actual years that were actually
10 looked at. What happened is we've actually leveled out
11 quite a bit on the non-cost effective side. A lot of
12 programs have moved to more cost effective metric. So we're
13 actually doing quite well with respect to that, regardless
14 of the mix of non-cost effective measures we have in our
15 programs.

16 MR. JACOT: And as part of our potential study, we
17 didn't -- we'll get to it, but we don't have necessarily a
18 measure level cost effectiveness screen. We want to get
19 everything we can get savings for. But you then have to
20 manage the investment so you don't overspend, which is a
21 good segue to the budget. You saw I laid out the budget
22 through 2020. We will, as soon as targets are developed
23 through this, whether it's the 2027 targets or all the way
24 up to 2030, we'll do a deep dive into what that -- what
25 those quadrants look like they need to be depending on what

1 the targets are in order to make that. We saw some fairly
2 large numbers in there, \$180,000,000. This year is probably
3 the first year actually breaking \$100,000,000. I think it
4 would be about 120 or 130. So I think we've got some --
5 some head room, but depending on what these targets wind up
6 being for SB 350 and if it's no codes and standards and if
7 there's, you know, no net so we got to get more gross to get
8 to that number, then the budget, you know, is going to need
9 to be increased commensurately. So we don't have any sense
10 of the magnitude of that, but obviously we'll have to look
11 at that when those targets get a little bit firmer.

12 There was a question on rate design to support
13 goals. At the broadest sense we have tiered rates, but
14 beyond that, have they specifically been designed to achieve
15 certain levels of energy savings by -- by conservation, by
16 economic messaging? No. No, they haven't, beyond the fact
17 that we just have tiered rates. So that was -- the rate
18 design is inherently a political process as well. We just
19 went through that process the last two years to get a five-
20 year power rate action in place and the same on water. So
21 we're not touching that until 2021 time frame.

22 And then a question on the differences between the
23 2014 and 2017 EE potential study. A lot of it -- a lot of
24 the methodology stayed the same. We'll talk a little bit
25 more on the next slide about that, but --

1 MR. SION: Yeah, so one of the main things that
2 had changed from the previous study to this one was the mix
3 of measures that were considered. So there's obviously a
4 different set of measures that were considered last time.
5 And the values for their savings, the unit savings have been
6 updated since then. So that was one of the major changes.

7 Fundamental methodology, though, has been fairly
8 the same and hasn't really changed. So kind of leading into
9 this -- this slide here, we're just kind of showing the
10 technical, economic, and achievable layers. We've gone
11 through this before, but one thing to note, which is the
12 standard practice, the economic screening for the economic
13 potential usually gets applied to -- on a measure level
14 basis. So their screen for TRC tests and basically taken
15 out of the mix of measures considered for the next
16 achievable potential.

17 So one major difference in our approach, we
18 basically bypassed that, and we allowed for all measures to
19 go into the mix, and the way we look at cost effectiveness
20 screening is on the back end, to see how it -- how it
21 represents the overall portfolio and the different programs
22 that we had.

23 One other thing that we did differently was
24 looking at the achievable programs potential. We tried to
25 go through an optimization process, and instead of applying

1 a flat rate incentives covering cost of measures, which is
2 typically what I've seen done in potential studies, what
3 we're doing is applying incentive rates to different measure
4 categories and a capping mechanism, which is kind of how we
5 do our program designs. We -- we apply incentive rates to
6 different measure categories, HVAC, envelope, sliding and so
7 on. And then we cap based on some percentage of the cost,
8 and that gets applied to the overall -- I'll show that slide
9 later on and how that optimization is done. But that gets
10 applied to the overall mix, and then we get some results out
11 of it to see how well we've done, and this is just a quick
12 snapshot of what's been submitted, our draft targets that
13 were submitted for the SB 1037 report, kind of showing the
14 mix of non-res, residential, and codes and standards.

15 MR. JACOT: And the caveat here is we knew when we
16 were doing this that this is just a -- a straw because this
17 process was unfurling and continues to unfurl at the same
18 time, but, you know, most of the work being done subsequent
19 to the March 15th deadline it's like this every year. So we
20 put this through. We haven't taken these targets to board
21 yet. We really didn't see what the point was since they're
22 going to change significantly through this process. No need
23 to get in front of them twice. So -- but for now this is
24 what we got.

25 MR. SION: But, yeah. So the main things that

1 were adopted here were the double counting of codes and
2 participating programs and the optimization process for the
3 programs themselves.

4 MR. JACOT: And you can eyeball it, but basically
5 the intent here was to keep us on a rolling 10-year
6 trajectory for 15 percent energy savings, cumulative across
7 a 10-year period. That's what the mayor had asked for for
8 2010 to 2020 and in loose conversations with the mayor's
9 office about this, they, you know, presented that they would
10 like to see that pace continue. So that's -- that's what we
11 got here.

12 MR. SION: And I think there was a question if we
13 had EE goals by programs, and so here's a chart that breaks
14 it all down.

15 MR. JACOT: It's not terribly useful, but we've
16 got all the backup. You know, if you guys want to follow up
17 and get more -- more of the information, we -- this is just
18 to show that, yes, those -- the buildup on this slide, which
19 is what you saw in the SB 1037 report, does have a lot more
20 granular data behind it at the program level.

21 MR. SION: Now, this would need -- you basically
22 need to have a mapping of measures to programs essentially
23 to get this, and we opted to go through that exercise. It
24 was quite extensive, but we got through it. I don't know if
25 any of the publically owned utilities went through that

1 effort, but we certainly did, and this actually helps us.
2 It informs us on the goals and our program business plans
3 that we have every year to associate, you know, savings with
4 different programs and set goals for them as well.

5 MR. JACOT: And one of the reasons for us this is
6 so important to do it this way instead of just having a
7 measure list and 10,000 measures or 100,000 measures is that
8 once you have programs and you bundle the measures into
9 programs, you can get customers doing multi-measure projects
10 of varying cost effectiveness of the various measures, but
11 they're more comprehensive than if they were just doing a
12 single measure in a vacuum. So you might have -- that's why
13 we include measures that have a point one TRC. You know, if
14 the customer wants to spend the money, why not? But the
15 other thing is that they can also bundle measures together.

16 HVAC sometimes doesn't stand on its own, but if you can get
17 the customer to do a lighting project at the same time, then
18 -- then it does. Then you've got an overall cost effective
19 project with an overall acceptable ROI. You know, you might
20 have a six-month ROI on the lighting portion and a seven-
21 year ROI on the HVAC portion, but combined two-year, three-
22 year, and it's within their comfort zone for that type of
23 investment.

24 MR. SION: And that effort was essentially for
25 matching up how we run our programs to setting up our

1 potentials. If a customer wants to pay for something in
2 addition to what's considered cost effective, we let them
3 have it. It's not going to preclude us from incentivizing.

4 MR. JACOT: Or reporting a savings. This is the
5 optimization.

6 MR. SION: So, yeah, this is -- this is the
7 optimization process that we went through, and I apologize
8 for the busy chart. It's quite a bit, but essentially we
9 basically have a list of measure categories that are broken
10 down, and we apply incentive rates to them. What this chart
11 kind of shows is basically we have this incentive multiplier
12 and we want -- we run through iterations to figure out what
13 the most optimal point would be, and then we have a revised
14 incentive rate.

15 Then we also apply an incentive cap to the total
16 measured cost. Because we've been using existing condition
17 baseline, we want to include total measures as the capping
18 mechanism.

19 So essentially what we would have is an effective
20 incentive rate that uses both of those, both the incentive
21 rates and the caps. So in certain cases we might be having
22 a very high rate where the effective rate becomes a capped
23 value instead. So you see in some cases, for example, it
24 might show two dollars for one thing and then with the cap
25 it's one dollar as an effective rate. But needless --

1 without going through the numbers, the last column is
2 actually demonstrating the weighted TRC down to the measure
3 level, and essentially anything that's greater than -- we're
4 kind of using the same coloring scheme as what we had in the
5 cost effectiveness chart earlier. Anything in green is
6 basically greater than one. So essentially we have two
7 measure categories, residential show and residential
8 comprehensive that were below that 1.0 TRC.

9 MR. JACOT: Yeah. And we still do those, but we
10 limit it. We limit our exposure to those.

11 MR. SION: Right. And over here this is broken
12 down to a program level TRC, and we also have administrative
13 costs multiply. So this is to figure out how much of the
14 budget would be inclusive in administrative costs for
15 marketing outreach, education and administering the
16 programs, processing the incentives. And essentially what
17 we have is the second to the last column is the weighted TRC
18 over the portfolio of all the programs, and we see a couple
19 of programs that are below that 1.0, but effectively when
20 you have it all mixed, the entire portfolio is still cost
21 effective.

22 MR. JACOT: Okay. We're just about wrapped here.
23 A couple of other odds and ends. We wanted to talk about
24 some of the new things that are coming and how we address
25 reach codes. So far in reach codes we don't have a whole

1 lot per se. We've got cool roof ordinance which mandates
2 cool roofs, and we still offer our incentive. And that's
3 another thing I need to put out there just for this group
4 and how you think about, you know, when something's
5 required, you know, does the utilities still get the
6 savings, and a lot of times, you know, with us POUs, we map
7 one to one to our city. It's not like the IOUs that have --
8 you know, like Edison's got 77 cities in its territory and
9 the cities all do different things. We have the one city,
10 and so when the city wants to do something like require cool
11 roofs, part of the way they can get it done is because DWP
12 offers an incentive. So, yes, it's mandatory, and, yes, we
13 offer an incentive because that's how we overcome the
14 political hurdle of making it mandatory. Same thing on new
15 construction. We've got an I think almost completely
16 unenforced, but we have an ordinance around new construction
17 should be 15 percent better than code when it's above like
18 7500 square feet.

19 MR. SION: Never got enforced.

20 MR. JACOT: Yeah, never got enforced. But, again,
21 the reasoning for them even putting that through council is
22 because DWP has new constructive incentives. So that's the
23 reality of how -- the environment in which we operate. And,
24 you know, you can't discount that in terms of the effects of
25 some of the stuff we're talking about.

1 The EBEWE, that's our benchmarking and disclosure
2 ordinance. I can never remember what it stands for. I can
3 barely pronounce it, but that's our mandatory benchmarking
4 disclosure. It's likely going to get rolled off July 1st
5 because LADBS isn't quite ready yet. We don't know when
6 it's going to role to, but it's coming, and year one will be
7 100,000 square foot commercial buildings and above, year two
8 50,000, year three I think 10,000. So that's -- that's kind
9 of --

10 MR. SION: It stands for Existing Building Energy
11 and Water Efficiency.

12 MR. JACOT: And then some new program areas where
13 we're going after these accelerated goals, especially if --
14 especially if this process is going to set targets for us
15 that -- that codes and targets don't count towards,
16 obviously we need to backfill that with direct customer
17 programs, whether they're upstream, midstream, or -- or
18 downstream. So, one, we're -- we've already done this once,
19 the door-to-door LED distribution, we're getting ready to do
20 it again. Two 75 watt equivalent LEDs to every household in
21 L.A., single and multifamily, all income levels, 1.4 million
22 households, 2.8 million bulbs. Took us about three months
23 to deliver those door to door with door hangers or bags that
24 we hung on doorknobs and then spent a good amount of time
25 cleaning up customers that didn't get theirs, got stolen,

1 whatever. We have some of that. The program and the scope
2 -- but we're going to do it again, and we see the
3 opportunity potentially to do it, make this an evergreen
4 offering for at least five years and through sheer force of
5 will just convert the residential housing stock to mostly
6 LED lit. At some point you get to where you're done. We're
7 a long ways from that.

8 We're developing a room -- a room AC, a window and
9 room AC exchange or placements program, similar to what's
10 been done with refrigerators. We're still doing low income
11 refrigerator exchange, but it's really getting down to not a
12 whole lot of potential left. It's getting saturated. I
13 believe the IOUs have stopped. I don't think Edison does it
14 anymore. We're getting not too far away from that, but the
15 same company that does that is perfectly equipped to do this
16 as well. There's a GHG capture element to it, and there's a
17 lot of crummy old window ACs and room ACs throughout our
18 territory. You know, we want to pick up. We want to have
19 people turn in their working but ancient ones and give them
20 a \$50 gift card, but the bigger effort will be working with
21 multifamily and their property managers to drop off, you
22 know, the survey, drop off a crate or a pallet of higher
23 efficiency, let their property management staff or whoever
24 they have do it install them all, collect the old ACs, and
25 we'll take those away and recycle them.

1 Behavioral EE, we -- we've got Opower onboard. We
2 haven't launched yet, but we're planning to do anywhere
3 between a third and all of our customers would be Opower
4 effort at least for a year or two and see how it goes.
5 We're excited about that.

6 And then this is -- this is off a ways, but once
7 we're talking about transportation -- once transportation
8 electrification, especially with light duty passenger
9 vehicles becomes more and more of our load and with 100
10 percent conversion of the passenger vehicle fleet in L.A. to
11 electrification, it doubles our load -- we go from 24,000
12 gigawatt hours to 48,000 gigawatt hours, tremendous -- then,
13 you know, traditional energy efficiency doesn't really
14 address driving, but there is a whole -- there's a whole lot
15 of measures in the urban planning transportation area around
16 reducing VMT, vehicle miles traveled. And so, you know, if
17 you look down the road five, ten years and maybe 10 percent,
18 10, 15 percent of the vehicle fleet has been electrified,
19 now you got a pretty substantial chunk of our load is going
20 into that segment, and it's not something we can address
21 through traditional energy efficiency. That's the point at
22 which we might, you know, start working with the Planning
23 Department or the Transportation Department and come up with
24 some, you know, VMT reduction measures. Rideshare would
25 work, Bikeshare, Carshare, things like that.

1 And, finally, I'm going to turn it back over to
2 Arman to talk about this other thing we're looking at, which
3 is a conceptual market transformation framework for
4 evaluation.

5 MR. SION: So, before I go back to that, for the
6 reach codes we actually do have -- the cool roofs, we are
7 actually attempting to quantify non-participant savings
8 through the case study reports and correlating that to
9 permitted roofing contracts.

10 But the market transformation framework right now
11 it -- basically it became in existence when we went through
12 an evaluation process, and this existing building ordinance
13 was coming about. It's not just a benchmarking ordinance,
14 but it's also a call to action within five years to actually
15 do something, either save 15 percent in overall energy
16 savings within five years or become Energy Star certified or
17 whatever the case might be. And with that -- with that
18 being the primer to move the market forward, this ordinance
19 actually wouldn't have existed if LADWP didn't have any
20 programs to support the financial burden on the market.

21 So we had to come up with a way to address this,
22 because essentially, if everybody had complied, everybody
23 would be a free rider, and we couldn't really, you know, get
24 ahold of figuring out how we're going to address and figure
25 out how we're going to quantify it properly.

1 So we were approached with this market
2 transformation framework to our programs. Essentially we
3 have a logic model to basically push and pull the market.
4 So the push is basically the mandatory ordinance and the
5 pull is the incentives, and we're working side by side.
6 They can't -- they can't exist without each other. They're
7 fully dependent on each other, but what these graphs
8 demonstrate are basically -- the green line you see over
9 there is the Bass Diffusion Model if you guys are familiar
10 with it. It basically demonstrates market -- market
11 acceptance over time, and what you would have on the bottom
12 line is -- on the dashed lines are basically the baseline
13 where it's naturally occurring market adoption, and the
14 lines -- or the boxes that you see here, the purple box on
15 the left side, it's demonstrating a gross savings for the
16 programs, and you see that they're cutting across the
17 naturally occurring market adoption and above it, and that
18 portion is actually demonstrated as the free ridership.

19 Now, there's a significant chunk in addition to
20 that that's basically overall market adoption of these
21 measures that are attributable to the programs but not
22 necessarily quantified by direct participants. It's
23 basically non-participants that we're talking about. So
24 those are called the market effect.

25 And overall, if you look at the graph on the far

1 right bottom corner, the savings attributed to the program
2 would be what's in red. Free riders' portion would be on
3 the bottom part. Those are basically participants who would
4 have done it anyway. And then you have the additional
5 spillover on top.

6 In this particular setup, free ridership would be
7 a bit more important in that sense that we want to make sure
8 that we're quantifying it properly, but for the lack of not
9 having any quantification for naturally occurring market
10 adoption, we've -- we've adopted the gross approach to
11 basically be able to quantify whatever we have or whatever
12 we've touched. But in this particular setup, free ridership
13 would be of importance but if you look at the overall
14 impact, it's of much smaller importance than what the
15 overall programs would achieve, and if the CUC is looking
16 for that unknown portion, this might be a method to look
17 into and see how to quantify non-participants into the mix.

18 MR. JACOT: Yeah, and we present this just as a
19 thought starter. We're not running our program portfolio
20 this way currently, but we're looking at it. It's something
21 interesting. You know, non-participant spillover, if there
22 is quantifiable impact there, you know, that might be a fair
23 trade for the free ridership piece.

24 MR. SION: Yeah, the overall methodology to
25 quantify this was through potential models, but they're

1 informed by market indicators from different market actors
2 and observers basically. So through those factors, those
3 indicators, we make adjustments to the potential models and
4 see what the overall impacts are. That's the gist of it,
5 but we have a framework kind of set up, and we have a
6 report. It hasn't been published, but we could certainly
7 share it for conceptual purposes.

8 MR. JACOT: Yeah, we'd be happy to share it. And
9 that's it. So questions?

10 MS. GRUENDLING: Can I -- before we go into
11 questions, I just want to clarify one thing regarding the
12 goals and codes and standards. This is Paula Gruending
13 from the CPUC. So the -- the Commission adopts separate
14 goals for codes and standards and utility programs. So what
15 was in question last year was whether we should set goals
16 for codes and standards, and the Commission decided that
17 we'll continue setting goals for codes and standards. So
18 the codes and standards savings count towards the codes and
19 standards goals, not the overall utility goal. So they're
20 sort of accounted separately. I just wanted to clarify
21 that.

22 MR. JACOT: That's helpful. Thank you. Are those
23 two different proceedings?

24 MS. GRUENDLING: No, same proceeding.

25 MR. JACOT: Same proceeding.

1 MS. GRUENDLING: So, actually, the adoption of the
2 goals now in August, September is going to adopt goals for
3 the utility -- the incentive programs and codes and
4 standards, and there'll be just two --

5 MR. JACOT: Okay.

6 MS. GRUENDLING: -- separate buckets of goals.

7 MR. JACOT: I see. That's helpful. Thank you.

8 Thank you.

9 MR. EARLY: And, John McQue, I think your line is
10 unmuted if you want to ask a question.

11 MR. MCQUE: Yeah. And I think Paula's
12 clarification was very helpful. I know that for this year
13 there was sort of a -- you know, the first year after SB 350
14 we're trying to stay the course and -- and for this
15 proceeding it's really important in terms of planning ahead
16 and making sure that, you know, budgets and efforts are well
17 integrated. And, you know, I'm still a little bit concerned
18 about having, you know, these goals that are separate
19 because they're really -- you know, ideally the portfolio is
20 -- is integrated, and there really is a plan to move markets
21 so that there's more activity in the codes. I kind of look
22 at, you know, SB 350 as sort of like, well, you're running
23 as fast as you can. We want you to run twice as fast as you
24 can, sort of like Alice in Wonderland. And to do that,
25 codes and standards are kind of like you're running through

1 the airport and you jump on the people mover, and so you're
2 able to run twice as fast as you can because you're able to
3 -- to innovate and move towards, you know, future
4 technologies, and part of -- from my point of view, part of
5 the problem with disintegrating the portfolio is is that,
6 you know, this whole issue of PRC and that -- you know, for
7 codes and standards, we actually need new products to feed
8 the pipeline, and those products, a lot of them are likely
9 going to be not cost effective, and to have a longer term
10 view of -- of from nuts to salad allows -- you know, allows
11 someone to actually have a vision of how we're getting from
12 here to 2030 and to 2050.

13 The other thing I'd like to point out is that
14 elections have consequences, and, you know, if -- if people
15 think that the efforts that we're doing in codes and
16 standards is -- you know, it's just going to take twice as
17 much effort to provide twice as much savings, I think
18 they're sorely mistaken. You know, the current applied
19 standards that we all worked on at the federal level,
20 they're being challenged, but future standards that are
21 supposed to be updated, there's lots of uncertainty if those
22 are going to be updated.

23 Questions about, you know, is -- is the state
24 going to sort of take up the challenge for code enforcement
25 for federal standards, you know, they have the authority,

1 but, you know, there's additional effort. And ideally, the
2 programs can help -- help with this.

3 You know, many of the programs rely on things that
4 are -- are done in terms of test methods and -- and, you
5 know, from my conversations with folks at the national labs,
6 everyone's getting ready for the ax. And so, you know, many
7 of those test standards aren't going to have the same
8 scientists that are working on them. And if you look at --
9 besides, you know, the test standards, there's also the
10 voluntary standards like Energy Star. All of these things
11 have -- they're headwinds, and, you know, if we have this
12 challenge that we're trying to double the savings and we're
13 not looking at economies of scale, we're not looking at
14 integration opportunities, it's going to be incredibly
15 expensive, and so, you know, I brought this up originally
16 during the rolling portfolio, but I really encourage the
17 Commission, you know, they talked about earlier, you know,
18 you saw the LADWP, you know, graph that showed that well,
19 you know, the overlap, it's there. It can be accounted for,
20 and that's kind of similar to what the CUC in the -- in the
21 staff document in regards to AB 802 has identified, that,
22 you know, these things exist. We just have to be a little
23 bit more careful and make sure we count the overlap. But
24 I'm really concerned about, you know, pulling these apart.
25 You want everyone to have skin in the game. You want them

1 to be responsible for the savings, and so I think it's --
2 and you want them to build on all the integration
3 opportunities between, like I said, nuts to salad, so we've
4 got a vision and a path to move things into code, to enforce
5 codes, prepare the markets for codes, to prepare new
6 emerging technologies. All those sorts of things, to me, if
7 you -- if you isolate the goals, I think it -- it
8 potentially disintegrates the portfolio. Thank you.

9 MR. EARLY: Any additional questions for David or
10 Arman? Okay. Well, I think you gentlemen both for coming
11 up, enduring Sacramento to give us the presentations.
12 Really appreciate.

13 And so we're deviating a little bit from the
14 schedule at this point. It's been a good discussion, but I
15 think we're going to break for lunch if it's okay with SMUD,
16 and I'm sure it is. And so at 2:00 o'clock we will
17 reconvene and begin with Richard's presentation, and then we
18 will move to Brian Samuelson. So see you back here at 2:00
19 o'clock, and for those on the Web, we're keeping WebEx
20 active, but we will reconvene at 2:00 o'clock.

21 Thanks everyone.

22 (The meeting recessed to reconvene.)

23

AFTERNOON SESSION

--oOo--

1
2
3 MR. EARLY: Hello everyone. Bryan Early again
4 with Commissioner McAllister's office. This is the staff
5 workshop on the methodology behind establishing the energy
6 efficiency doubling targets under SB 350, reconvening after
7 lunch.

8 So next up we have Richard Oberg from SMUD, but I
9 wanted real quick to turn the mic over to Martha Brook, also
10 of Commissioner McAllister's office. She had a -- a follow-
11 up comment on LADWP's presentation.

12 MS. BROOK: Yeah. Martha Brook here. I just
13 wanted to -- to clarify that the work that we're doing here
14 for target setting for SB 350 is not intended in any way nor
15 did we have the authority to direct you to do anything
16 different for your -- your utility programs. Either that's
17 regulated by the Public Utility Commission or your local
18 boards, and we certainly don't want you to stop doing codes
19 and standards advocacy. That benefits the Energy Commission
20 and the whole state, but we're just going to keep our books
21 differently here, and we just wanted to make that crystal
22 clear. Okay.

23 MR. OBERG: Okay. So they put me after lunch. So
24 if I see any eyes, you going down, I'm going to call you
25 out.

1 So there was a discussion here whether I should go
2 before lunch or after lunch because a lot of what I'm going
3 to say is a little bit of -- just like LADWP, because we
4 have a very similar view toward the world because we're both
5 -- we're both POU's.

6 So I'm Richard Obert. I manage the DER, the
7 Distributed Energy Resource customer programs at SMUD. So
8 that includes energy efficiency and demand response,
9 storage, electric vehicles, connected home and some of our
10 carbon based rate offerings for our customers. That would
11 include our green energy product and our community solar
12 programs.

13 So SMUD's a little different than LADWP. We're a
14 municipal. We have our own elected board. We're not
15 connected to the city or any cities or the county. We
16 operate on our own. We're under a state -- state charter,
17 but the business model is very similar to LADWP in that we
18 don't make revenue, net revenue.

19 All right. So what I wanted to show you and it
20 may be a little bit -- well, we'll see how you like it, but
21 it's taking a look back in time a little bit on how we got
22 to where we're at right now. So this is what our utility
23 load looked like from 2000 to 2016. The yellow is the
24 actual sales to customers. We run energy efficiency like
25 LADWP but even a little longer. We've been at it since the

1 '70s, but at the '70s, early '80s was about the time we shut
2 down a nuke plant, and so we really went hard corps into
3 energy conservation. That happened in the '80s, and then it
4 kind of tailed off when we started getting into deregulation
5 talk in the late '90s, and then you can see kind of what it
6 looks like from 2000 to 2016.

7 So the yellow is the actual load. The orange is
8 what energy efficiency load reduction we got during that
9 time period, and then you can see about 2008 is where the
10 green starts kicking in. That's AB 2021 where we went not
11 with the one percent or 10 over 10 years. It was one and a
12 half percent, and that was what our -- our board went after,
13 and so that's what we've been doing for the past -- since
14 2008 up until -- you know, if we get a different set of
15 goals here, our board's pretty good about accepting what the
16 CEC would like, once we've negotiated that out.

17 So that's what it looks like on an actual utility
18 as far as how energy efficiency impacts the load.

19 Now, a couple of things I'd like to point out
20 there. So on the very -- the blue line at the very top
21 there, that's our customer increase over time. So we've
22 gone from in the 500 -- 500,000 customer to over 600,000
23 during that time period, 21 increase in customer, but over
24 the same time period, we only had an eight percent load --
25 increase in our load. So that's obviously an impact on

1 energy efficiency plus probably a couple of economic issues
2 that went on during that time period, but you can see that
3 our utilities are really dedicated toward that.

4 I'd like to push toward the AB 2021 time frame.
5 We actually had a four percent increase in customers during
6 that time period and a four percent decrease in load during
7 that time period. So you can see it really does impact how
8 a utility operates and how our -- our load forecast looks
9 like.

10 We are different than I think just about anybody
11 else. We do not use the TRC test. We use the PAC test
12 because we treat it as a resource. So it's a resource, just
13 like everything else, just like LADWP said, "Hey, you know,
14 here's our -- here's our resource mix." We do the same
15 thing. And because of that, we don't do TRC. We do the
16 PAC. We actually look at it. We report it out in our 1037
17 report, but when we make decisions in our utility, it's
18 based on the PAC.

19 And also -- and I -- I don't want anybody from
20 Navigant to shoot me, but we don't use the potential study
21 as our law and gospel. We use it as a good guidance, and it
22 helps us make decisions, and the reason we don't use it as
23 the -- the end all be all is that it's at a measure level,
24 and we're programs, and we're looking at customers, and we
25 don't want to miss those lost opportunities of where the

1 customer will pay a little bit more that we'll get knocked
2 out. So -- so we really look at it -- we -- we analyze our
3 programs at the -- with the -- with the PAC cost
4 effectiveness. We look at them at the program level, but
5 really we hold ourselves accountable at the portfolio level
6 so that the whole portfolio is cost effective.

7 Let's see, and so our marginal cost we use a gas
8 fired turbine as the -- what it looks like going out into
9 the future. That's how we determine our marginal cost, and
10 then we add a carbon adder and an RPS adder to that.

11 So, just to show you -- I like my graph better
12 than LADWP's graph, but it's showing kind of the same thing.

13 So these are what our programs mix are, and so this is kind
14 of a complicated chart, but let me try and explain it here.

15 So we set thresholds for each of the programs based on when
16 they save energy, what time of day, and so those thresholds
17 that are on the left side for cost effectiveness -- now,
18 it's different for each program because they have different
19 thresholds, and then going on the -- on the X axis is -- are
20 the programs and their -- how much they contribute to
21 meeting our goal of 158 gigawatt hours going across. So
22 codes and standards, as you can see there, is 20 percent,
23 and it's very cost effective.

24 The next program is our retail lighting program,
25 which is an upstream incentive program, and then it just

1 goes on across there. After you get past retail lighting in
2 that kind of mauve color, the next couple of programs are
3 all commercial based programs because commercial is usually
4 more cost effective, and the dotted line shows where we're
5 really at compared to our threshold. So we're at about 50
6 percent.

7 So that's what it looks like for this year, and
8 we're on a calendar year. So it's January to December. Let
9 me see what else I -- so I did want to say a couple of
10 things. Once again, I'm going to agree with LADWP. We
11 don't -- we don't do net. We do gross. It's a resource.
12 It's -- we treat it as found, as left. So that's really the
13 savings we're claiming. We do take some guesses, same thing
14 where the M and D studies come in and show us what the net
15 to gross numbers are, but we traditionally don't use them.
16 What we do use them in these studies are is the same thing.

17 We're trying to improve our programs, make them better, get
18 them out to our customers better, have a better delivery
19 channels, better marketing, go after the right customers.

20 So, let's see, there was a couple of questions
21 that got asked here that I wanted to touch on. There was a
22 question about how the rates impact our energy efficiency
23 programs. I don't think they have a huge impact. We
24 haven't made huge increases in rates. So it really doesn't
25 drive our customers to be more energy efficient. Starting

1 in January 2019 -- it was approved last Thursday night -- we
2 are going to time of day rates for residential customers.
3 So as of January 1, 2019, all of our customers except those
4 that opt out will be on some type of a time of use rate. So
5 I don't expect that to drive a lot of energy efficiency
6 behavior. I do expect to get a little demand response from
7 that.

8 The other thing that's a little different than
9 LADWP is we do not include low income in our portfolio, and
10 that's because of a cost effectiveness. Basically, the
11 money we spend on low income, we figure that's kind of a
12 public goods thing and we just put it off to the side. It's
13 a significant amount on the rate side, and it's an okay
14 amount on the energy efficiency side, but we do -- we are
15 involved in energy efficiency for low income. We just don't
16 include it in our portfolio. It really isn't -- it isn't
17 cost effective for us.

18 So since the -- the talk was, you know, what's it
19 look like in the future, I had my -- my guys take a -- take
20 this chart and say, okay, let's take out codes and standards
21 because that was talked about here a little bit, and the
22 retail lighting program, we're actually in the process of
23 shutting down. So our retail lighting program is actually
24 working with manufacturers. We sign contracts with
25 manufacturers to get light bulbs bought down in a lot of our

1 big box and some of our smaller stores. So if you walk into
2 a Home Depot or a Lowe's and you buy an LED light bulb, we
3 bought it down, bought the price down. But at this point in
4 time you walk into Home Depot and Lowe's, it's pretty hard
5 to buy anything but a CFL or an LED. So we're in the
6 process of transitioning out of that. So next year, if we
7 were to -- or this year, if we were to take away energy
8 efficiency -- I mean take away retail lighting and take away
9 codes and standards, this is what it would look like. Cost
10 effectiveness gets worse, and we're only at 100 gigawatt
11 hours instead of 158 gigawatt hours. So it does take a huge
12 impact for us.

13 I say this to my associates at work all the time.
14 The pie is shrinking, and so while we're in the discussion
15 of how do we double things, we're doubling things on a pie
16 that's getting smaller. The low hanging fruit at least for
17 us is gone. We -- light bulbs that -- we still have some
18 commercial lighting programs, but it's just -- it's slipping
19 away. It's got to go deeper, and deeper is more expensive.

20 Let's see what else I wanted to say about these
21 programs here. So we are looking at -- at new programs,
22 some that are already in existence in other areas that we
23 can use to try and fill in some of that 50 gigawatt hours or
24 whatever the goals get set over this next year. So we have
25 some ideas, but there are some things that, you know,

1 they're -- we're still working on. This is not an easy lift
2 for us because it's -- the energy savings I think any
3 utility will tell you is starting to get a little more
4 difficult.

5 So the other thing that we are -- some other
6 things that we're looking at and I'll touch on in just a
7 second here is trying to bundle our programs together. One
8 is, you know, since I'm -- my team's responsible for all of
9 the DER resources, we're trying to bundle some of those
10 together. So let's get a thermostat in that actually can
11 have some DER capability with it along with energy
12 efficiency. So, as we've gone to now, the new Energy Star
13 thermostats, we're adopting those pretty quickly, and then
14 we'll be able to go back to those customers for some DER
15 functionality hopefully.

16 But our first really strong foray into trying to
17 bundle this all together has been our residential new
18 construction program. Bless you guys, but your residential
19 Title 24 codes have made it pretty much impossible to have a
20 program because there's really not much left. So we're
21 trying to bundle that up with demand response. So we pay
22 for a smart thermostat to be put in. We put some electric
23 vehicle money into that. So we have the conduit run for an
24 electric vehicle. And so we're trying to package some of
25 the stuff up into bundles. It's not just energy efficiency

1 anymore, and that's the way I kind of treat my team. We're
2 carbon reduction. So energy efficiency is a piece of it,
3 but we've got to think toward carbon reduction and how we
4 can get all of these things to work together on that.

5 So one of our -- and I -- one of my associates
6 reminded me I'd really like to hit a little bit on the
7 difficulty of Title 24 and the structure that's built around
8 electrification. It's built for -- to use gas. It kind of
9 forces us to use gas in residential new construction,
10 especially with the TDV values, more particular, climate
11 zone. It really gets pretty hard -- hit pretty hard with
12 that, and so it's harder for us to start thinking about heat
13 pump water heaters. Heat pumps and induction cooking,
14 that's really the direction we'd like to go with our
15 resident new construction program because there's just more
16 value to it for the customer in the long run and also for
17 the carbon reduction aspect of it.

18 Let's see if there's anything else I got to try
19 and remember about this. So we do actually have a heat pump
20 water heater program right now. For customers that are
21 changing on an electric water heater, we have an incentive
22 for them to go to a heat pump water heater. We also have
23 one for customers that have a gas water heater, to convert
24 it over. We had some issues with several that -- a couple
25 of the communities here in Sacramento County because they

1 use Title 24 as their base, and so that had a barrier that
2 we had to overcome with those entities to say, yeah, it's
3 still good even though it's not gas.

4 So I'm -- I'll flip to the chart very quickly,
5 but, once again, LADWP did a nice job of talking about
6 market transformation. That also is something we've got on
7 our radar screen. We think that that's a possibility in the
8 future. If you, you know, look at our history, CFLs, LEDs
9 are really good examples of how we went from an incandescent
10 bulb. We've really transformed the market. That's why
11 we're getting out of the retail business, retail lighting
12 businesses, because it's been transformed. There's really
13 -- with codes and what's available in the stores -- and the
14 customers really love LEDs. There's just no reason for us
15 to be putting any more incentive dollars into them.

16 So our other issue is building electrification.
17 So I -- I described that for just a second there on how
18 we're doing with the res new construction. But that's an
19 area of opportunity we think that if we can get the carbon
20 reduction value from -- going from an electric gas home to
21 an all electric home, we think there's a real value to that
22 to meet carbon reduction -- carbon reduction goals for the
23 future, and we're trying to figure out what that metric
24 looks like. I know we've had some conversations with CEC on
25 how to figure that out and what value we should put on it,

1 but that is kind of our long-term objective in trying to
2 meet some of our carbon goals by electrifying homes.

3 And that's all I've got. A little more than 10
4 minutes. I'm sorry. Are there any questions? So you're
5 all sleeping after lunch. I got it. This was good timing.

6 MR. TOTH: Phil Toth, Southern California Edison.
7 You mentioned the size of the pie shrinking and alluding to
8 the symbiotic relationship between codes and standards that
9 are above -- above code programs and it's something that
10 I've been trying to wrap my head around for a while, and in
11 seeing what 2014 and the doubling of that, embedded in there
12 is an assumption that the doubling part is cost effective I
13 believe, and, Mr. Jaske, you can correct me if I'm wrong.
14 And I'm, again, trying to think how can we support 350 at
15 the same time under the current -- the construct of our
16 current program, which the building part is supposed to be
17 outside of that, but you got to start somewhere, so let's
18 start with the mindset of our current program.

19 Given that the size of the pie is shrinking, what
20 is your feeling about the cost effect? Is there going to be
21 an issue moving forward with the cost effectiveness under
22 the current constructs or what's your feeling on that?

23 MR. OBERG: So I think that as far as the gas
24 component of our power supply, pretty cheap. It's pretty
25 cheap going into the future, but the renewable portfolio

1 standard does bring into the likelihood that our marginal
2 costs are going to go up. I think that puts more things on
3 the table, but it seems to me -- and this is just strictly
4 my opinion -- that we've kind of been at this level and
5 we're trying to get to this level. The jump is so high that
6 there just isn't a ton of technologies that fill in that
7 small little bit. You know, the low hanging fruit's been
8 taken, and we all know it's lighting. Lighting's easy. You
9 know, for us -- and we were talking about this at lunch.
10 For us in a residential home here, we had a really hot day
11 today, right? It's hot here. It's hot. Our customers
12 probably -- you know, this is a generalization, but they
13 probably run their air conditioners a month or two here.
14 It's really not that much. So we've got a lot of air
15 conditioners out there that are 20, 25 years old, and
16 they're still running. Well, they're not running very
17 efficiently, but they're not running very often either. So
18 trying to go after a -- an early retirement type program
19 after residential air conditioners is tough. Codes and
20 standards makes it tough because the code air conditioner is
21 so efficient our savings on our program is really around the
22 ductwork around the air conditioner and making it tight.
23 The savings we get from the actual equipment of the air
24 conditioner is just so small now.

25 So I don't know. I'm -- you know, I think we're

1 all kind of looking for that silver bullet or I've heard
2 somebody say the silver buckshot of trying to see something
3 that's going to actually hit that we've got some -- I'm not
4 giving up on energy efficiency. I've been doing it for a
5 lot of years, but it's going to get more difficult, and it's
6 going to get more expensive.

7 MR. TOTH: Thank you.

8 MR. JASKE: Mike Jaske, Energy Commission Staff.
9 Phil, I think I need to describe differently your initial
10 few sentences there of your comment/question. The -- as we
11 -- as the staff understands the SB 350 construct, the
12 doubling is a doubling of a particular pair of studies, a
13 certain AAEE for IOUs and a certain POU for -- potential
14 study for POUs. And there's no statement that that doubling
15 is cost effective. That's why we're now thinking of it as
16 an aspirational goal. The portions of the SB 350 text that
17 talk about the constraints of cost effectiveness,
18 feasibility, and the public health and safety which
19 sometimes we refer to as reliability, those are filters to
20 -- that are traditionally -- they're not new to 350.
21 They're traditionally imposed to assure that there's net
22 value that emerges from these activities. So those are
23 still there, and they are -- they are filters or constraints
24 and as has just been described and was pretty clear from the
25 overview of the PUC potential study. Those create pretty

1 large limitations on what we currently can understand to be
2 cost effective and feasible and reliable, and it's going to
3 take different thinking about how to get anywhere near that
4 doubling aspirational goal.

5 MR. TOTH: Thank you for your clarification, Mike.
6 I stated it incorrectly. Thank you for --

7 MR. OBERG: John, what you got?

8 MR. MCQUE: Hi. This is John McQue. Great
9 presentation. You know, the -- your benefit cost ratios or
10 your percent of TRC one, you know, matches kind of my
11 preconceptions about various programs and it's sort of borne
12 out.

13 I think in some cases that I think folks are
14 banking on some -- some efficiency measures that have yet
15 come to roost, and in particular, especially a running
16 lighting program, you're probably looking at 2018 at this
17 huge cliff that, you know, California has -- has the -- you
18 know, currently has the carve-out to essentially eliminate
19 the incandescent A lamp and replace that with something
20 that's 45 lumens per watt, and it's not a done deal. Things
21 can happen. Elections change things, and if there's a huge
22 blowback from the public -- the huge savings associated with
23 transforming the lighting market can be lost, and, yeah,
24 there's a bunch of LEDs in the marketplace. Unfortunately,
25 you know, a couple of years ago we were seeing long lives

1 lamps that typically had, you know, 25,000 hour lifetimes
2 and -- and color rendering index above 90. They were being
3 replaced with lamps that have, you know, shorter lifetimes
4 and substantially lower color quality and, you know, I'm
5 kind of wondering if we're going to end up back with a
6 situation of blowback and that there's -- you know, this
7 huge savings that we banked may actually go poof, and so
8 these kind of point to things related to programs that have
9 impacts that go well beyond just energy. Well, they go --
10 you know, they impact energy because they're actually
11 providing some consumer protection, and they're providing
12 amenity and quality in the market, and so I'm a little bit
13 concerned that we're taking our hand off the tiller at the
14 last moment here, and already seeing, you know, lower
15 quality products in the market, lower longevity, lower
16 quality for the consumer, more flicker. There's a lot of
17 different aspects in terms of quality that, you know, we may
18 be losing. And so I'm just a little concerned about, you
19 know, people phasing out that and -- and kind of related to
20 sort of non-energy effect, there's this book out right now
21 called Drawdown. Stewart Brand is one of the authors, and
22 they had identified that sort of the biggest measure for
23 reducing GHGs is -- you know, has to do with all the
24 refrigerants, you know, the direct -- direct greenhouse gas
25 emissions associated with refrigerants. That's like one of

1 the largest single measures. And so, yeah, there's -- you
2 know, there's not only so many hours a year that these air
3 conditioners operate, but it really sort of raises the
4 question of, you know, if we look at the -- you know, the
5 value of greenhouse gases, what or policy issues are and
6 then looking -- looking at that in sort of a broader scope
7 of more than just energy, I think there's some value here
8 that we're maybe not capturing in just the traditional, you
9 know, TRC unless we start actually including the value of
10 carbon reductions.

11 Thanks.

12 MR. OBERG: Oh, go ahead. I was just going to
13 make my pitch here. SMUD now has an incentive for natural
14 refrigerants because we're trying to move along here in the
15 carbon reduction world.

16 MR. EARLY: Christine, go ahead and ask your
17 question.

18 MS. TAM: Thank you. I just wanted to better
19 understand SMUD's rationale for using the PAC test and not
20 the PRC test by evaluating the cost effectiveness of the
21 efficiency portfolios.

22 MR. OBERG: So we treat our energy efficiency as a
23 resource, and so it's really -- we're trying to compare like
24 cost effectiveness, and that's the PAC or the old utility
25 cost test, and so that's our reasoning behind that. It's

1 really what it -- you know, it's overall society good, and I
2 understand all that, but we're a utility, and we're trying
3 to make utility decisions, and that means that we have to
4 compare our resources. That's how we take the approach with
5 energy efficiency by using the -- the PAC.

6 MS. TAM: Thank you. I definitely agree with you.

7 I think actually there are many instances where it's very
8 difficult to apply the TRC because this -- especially for
9 new construction and industrial applications, it's
10 impossible to find what the so-called incremental measure
11 cost would be. Thank you.

12 MR. OBERG: Thank you very much.

13 MR. EARLY: Thank you, Richard, and thank you for
14 coming after lunch.

15 Okay. So next up we have Brian Samuelson with the
16 Efficiency Division Staff.

17 MR. SAMUELSON: All right. Thank you. I just
18 want to introduce myself. Brian Samuelson with the
19 Efficiency Division here at the California Energy
20 Commission, and we're the other division besides the Energy
21 Assessments Division working on this information and the
22 different -- what's rate payer, what's non-rate payer
23 funded, and that's what -- we are talking today as the non-
24 rate payer funding.

25 So we have seven different sections to the

1 presentation today. We're going to start off with some
2 acknowledgments, core presentation concepts, basically some
3 things you're going to hear a lot repeated, codes and
4 standards, financing overview, behavioral and market
5 transformation programs, industrial and agricultural and
6 time line.

7 So, first off, we wanted to -- to say thank you to
8 NORESKO and to their subcontractors, TRC Energy Services and
9 the Center for Sustainable Energy. They're our contractor
10 who has been helping us. They did the brunt of the work for
11 the methodology that we're going to be sharing today. We
12 also wanted to thank the California Public Utilities
13 Commission and their contractor, Navigant, for their help.
14 They've been a huge help, given us a lot of great
15 information in a timely manner, and we're here today because
16 of their help as well.

17 So some of the core presentation concepts I want
18 to talk about before really going into the presentation is
19 baseline demand forecast. When we look at this, we're
20 looking at the baseline as reported in the Integrated Energy
21 Policy Report, otherwise known as IEPR at the Commission,
22 looks at the next 10 years of energy demand, and in order
23 for the Demand Forecast Team to forecast ahead 10 years,
24 they must calibrate their forecast to the last historic
25 years demand.

1 Additional achievable energy efficiency or I will
2 -- I'm going to shorten it and say AAEE, as defined again in
3 the IEPR report for 2015 by the Energy Commission, AAEE is
4 composed of energy savings not yet considered committed but
5 reasonably expected to occur, including future updates of
6 building codes, appliance regulations and new utility energy
7 efficiency programs.

8 These energy savings are predominantly found in
9 Navigant's potentials and goals study which is done on
10 behalf of the CPUC. One thing I did want to clarify, as
11 mentioned, when we're talking about AAEE in this
12 presentation, we're drawing kind of the focus more on for
13 Energy Assessments Divisions was more rate payer focused,
14 and we're focusing on non-rate payer sources.

15 Top down approach, that was the initial estimates
16 that was done, high level goal-based approach with initial
17 available data. And next we have a refined top down using
18 more informed assumptions with additional available data
19 with a bottom up approach, being a detailed measure based
20 energy modeling approach with additional available data.

21 So first off with our codes and standards, we're
22 going to talk about the Building Energy Efficiency
23 Standards, California Green Building Standards Code, which
24 is otherwise known as CalGreen. It's also known as a reach
25 standard. The Appliance Efficiency Regulations, Title 20,

1 the Federal Appliance Standards, and the Air Quality
2 Management District's Program.

3 So starting off Title 24.6, the Building Energy
4 Efficiency Standards, so with that, we have found -- or,
5 excuse me, I should start off with a little description
6 about the standards. It deals with energy efficiency
7 standards for residential and non-residential building
8 sectors, complies with new standards for new construction,
9 for additions and alterations in the State of California.
10 It has a three-year code cycle. So we estimate for future
11 code cycles we're going to see them in 2019, 2022, 2025, and
12 2028. And those will be the standards that would go into
13 effect before hitting that January 1st, 2030 time frame.

14 Also I wanted to pointed out that the 2019
15 standards are looking to be the residential zero net energy
16 meeting the 2020 goal that has been set and mandated, and
17 the potential 2028 standards would be for the nonresidential
18 buildings.

19 I wanted to point out that energy efficiency
20 savings for future standards will diminish over time because
21 of the stringency of new standards each time. So there's
22 going to be less savings attributed for -- for this program.

23 So we're doing great by having better standards. It's just
24 going to make it harder with using the standards to help us
25 meet the goal.

1 However, future standards should be able to
2 increase the scope and take into account things such as
3 hospital loads, which it doesn't take into account now, as
4 an example. There should be also a lot more opportunity for
5 alterations in existing buildings because a lot of the focus
6 has been new construction. We had some for additions and
7 alterations, but I think there's going to be a lot more
8 opportunity in the alterations for existing buildings.

9 For our AAEE and baseline overlap, I just want to
10 point out the standard. So basically from the iteration,
11 1978 all the way through 2016, this is going to fall under
12 the baseline or AAEE where the 2019 for new construction
13 will fall under AAEE as well. I wanted to point out that
14 it's strictly just the new construction for 2019.

15 So what we are looking at is additions and
16 alterations for 2019 and anything past that that's going to
17 happen for the January 1st, 2030 date.

18 So what we are looking at would be -- for energy
19 savings potential would be a bottom up or a refined top down
20 approach with the standards. So the following variables are
21 taken into consideration. The value of maintaining
22 consistency between the analysis of Navigant's past and
23 ongoing analysis, availability of information regarding
24 expected progressions of the standard over time and product
25 scope and time line.

1 So I also wanted to point out that measure inputs
2 may include but not limited to measure per unit electricity,
3 gas and demand savings, building types effected, statewide
4 floor space and effected buildings, naturally occurring
5 market adoption, naturally occurring standards adoption and
6 attribution factors.

7 They did do an initial top down statement, which,
8 again, was more high level. One of the main things with
9 that I wanted to point out is they're looking at percentage
10 of efficiency increased from one standard to the next. So
11 for 2019, kind of did initial approach. That would be 10
12 percent more efficient than 2016, with a five percent
13 increase for 2022 and for 2025 and going back up to a 10
14 percent increase in 2028.

15 The California Green Building Standards Code, I'll
16 just mention it as CalGreen, gives cities and counties the
17 opportunity to participate in a voluntary program. It isn't
18 mandated by the state. Again, these are cities and counties
19 that want to go above and beyond what is required by our
20 standards. They can do so by participating in what's called
21 tiers. For residential, you have tier one, which is 15
22 percent above the standard baseline, or tier two, which is
23 30 percent above the standard baseline. For non-residential
24 you have tier one, which is five percent with either
25 lighting or mechanical and 10 percent if it's lighting and

1 mechanical, and for tier two, 10 percent with either
2 lighting or mechanical or 15 percent if it's lighting and
3 mechanical, and we are looking at CalGreen for 2019, 2022,
4 2025, and 2028, similar to the standards for building
5 efficiency.

6 There would not be any overlap with AAEE and the
7 baseline because we are looking strictly at the ones that
8 did not fall under there and that Navigant's not looking at.

9 So, again, with 2019, they're looking at new construction.
10 We'll look at additions and alterations for that and the
11 entire codes after.

12 From the bottom up or refined top down that they
13 will look at doing, measure inputs may include but not
14 limited to -- one thing, assume that jurisdictions that
15 previously adopted local ordinances using CalGreen will do
16 so again. Use past permit data to estimate future new
17 construction and major renovations. Estimate the local
18 ordinances will adopt performance level consistent with the
19 next version of the Building Energy Efficiency Standards for
20 building simulations. Model a package of measures that may
21 be -- excuse me -- that may not be implemented in all
22 projects. Local ordinances more often require whole
23 building performance rather than the prescriptive measures,
24 meaning that projects can use any mix of measures to meet
25 the requirements. Therefore, a simulation using specific

1 measures would not be entirely representative of the savings
2 that may be realized.

3 The Appliance Efficiency Regulations -- and I'll
4 just say appliance regulations -- include minimum efficiency
5 standards for appliances that are sold and installed in the
6 State of California. There is no code cycle, but appliances
7 and equipment are added and regulations are made more
8 stringently frequently with different effective dates
9 throughout the appliance regulations. So even though we
10 have a 2016 appliance efficiency regulations, you will find
11 different effective dates throughout the regulation. So
12 it's not a set cycle like the standards, but you will have
13 it when it comes out. You'll have different effective
14 dates.

15 So we are looking at appliances from 2018 all the
16 way through 2022. By looking at the 2018 potentials and
17 goals study that's been mentioned here that there's a
18 workshop for tomorrow at the CPUC, we are looking at those
19 specifically from what Navigant presented so that we know
20 which ones not to look at. They didn't cover every single
21 appliance that's going to be included from now until 2029.
22 Some things, for example, in the next few years that will
23 not be covered in AAEE or the -- Navigant's study are
24 industrial fans and blowers, sprinklers, spray bodies, tub
25 spout diverters, irrigation controllers and standby mode and

1 power factor, whereas things like general service lamps and
2 set-top boxes would be included in AAEE.

3 The other thing that they will be looking for is
4 not just new appliances but also existing ones that could
5 have an opportunity to be updated for energy saving
6 potential.

7 With the bottom up approach, they'll develop a
8 list of potential Title 20 measures that are viable for
9 development and inclusion in Title 20 standards through
10 2029, and, as I mentioned, the ones that were identified by
11 Navigant would not be included for that new measure. Where
12 measure local data analysis is available, we will use this
13 data to make detailed projections and savings potential and
14 market penetration.

15 For the Federal Appliance Standards, that's going
16 to be similar to our Title 20 Appliance Efficiency
17 Regulations. So the Federal Appliance Standards, they
18 basically create the minimum requirements, efficiency
19 standards for appliances. With that, that means that the
20 State of California does not create those minimums because
21 it is done on a national level, and we adopt those
22 efficiency -- minimum efficiencies.

23 The U.S. Department of Energy is required to
24 review each standard at least once every six years for
25 potential revisions and to set appliance efficiency

1 standards to levels that achieve the maximum improvement in
2 energy efficiency. We'll be looking through the years 2019
3 through 2029, similar to our appliance efficiency
4 regulations, to see what was not included in Navigant's
5 report. One thing I didn't mention before, for appliances
6 and the federal is for Navigant, they actually had
7 appliances that were mentioned all the way through 2024. So
8 anything after 2024 would be 100 percent non-rate payer.
9 Where we can find some -- I will find some measures up to
10 2024.

11 For AAEE and baseline forecast overlap, there
12 would not be an overlap because we are specifically looking
13 at measures not listed in Navigant's study.

14 For the bottom up approach, we will focus on a
15 high energy consumption appliances which have the greatest
16 potential for energy savings and are known or prevalent in
17 the market such as HVAC systems, domestic hot water systems,
18 commercial washers and dryers and lighting.

19 For the Air Quality Management Districts Program,
20 energy savings realized by this program is realized through
21 CEQA, the California Environmental Quality Act, required
22 mitigation through Air Quality Districts.

23 Where a project is anticipated to exceed
24 environmental impact thresholds established by CEQA,
25 mitigation is required. While a wide range of action can

1 contribute to mitigation, energy efficiency interventions
2 factor prominently into the recommended strategies. So to
3 date there is no information on California Air Quality
4 Management District Programs that have energy efficiency
5 programs. So no energy savings are expected to be captured
6 in the baseline. AAEE also does not include these sources
7 for energy savings expected to occur.

8 For the bottom up approach, one thing that we are
9 looking at, we were looking, as this is a code and
10 standards, in the future for doing the bottom up refined, we
11 are looking at as probably more of a financial program from
12 the research we've been doing. That's something we've been
13 -- will continue to coordinate with NORESKO.

14 So there may be an opportunity to implement a
15 bottom up approach that captures the anticipated efficiency
16 impact, specific mitigation measures exceed code minimum
17 requirements. But, again, we might be looking at it as a
18 financial to increase savings, and then initial estimate
19 savings were done as well.

20 Move on to the financing overview where we're
21 going to cover the Property Assessed Clean Energy, local
22 government challenge, Proposition 39, Energy Conservation
23 Assistance Act, Low Income Weatherization Program, Water
24 Energy Grant, and Energy Savings Program.

25 So the Property Assessed Clean Energy, otherwise

1 known as PACE, is a loan given out by private PACE providers
2 to building owner. Loan is used for permanently -- excuse
3 me -- permanent energy efficiency upgrades. One of the
4 unique things about PACE is that it's adopted locally by
5 cities and counties. It is not a statewide program. So not
6 every area of the state has this program.

7 So energy savings potential with -- excuse me --
8 there is potential overlap with AAEE and the baseline. So
9 because the program existed during the baseline forecast
10 calibration year, some amount of energy savings will be
11 incorporated into the forecast. PACE may overlap as well
12 with AAEE if the property owner uses a utility incentive to
13 help reduce the cost of the upgrade. One thing you're going
14 to notice with the financing -- one thing that you'll notice
15 is that with financing there's going to be a lot of
16 opportunities for utilities to have some type of program.
17 So there's going to be some potential overlap.

18 For the bottom up approach, to the extent that
19 more data can be collected from individual PACE providers or
20 from publically available databases, energy savings
21 potential will be updated through refined calculation.
22 There also may be an opportunity to implement a modeling
23 analysis that captures anticipated efficiency impact of PACE
24 finance programs.

25 For the Local Government Challenge, this is a

1 recent program that has been done through the state, it's a
2 new grant program run by the Commission. There are two
3 types of grants, energy innovation grant and small
4 government leadership challenge. These are funded through
5 the American Recovery and Reinvestment Act, otherwise known
6 as ARRA. There is potential overlap with AAEE if the
7 awardees do use utility programs or rebates for their --
8 funding these challenges.

9 For this program, they would be looking more for a
10 refined top down approach, for detailed savings estimates of
11 the individual energy innovation projects through a
12 combination of research on each program and detailed
13 spreadsheet calculations. So basically going through each
14 of the different programs to see what possible savings could
15 arrive.

16 For Proposition 39, that is K through 12 and
17 community college opportunity for grant money to improve
18 energy efficiency for their school, also for city and county
19 buildings as well. So it started in the fiscal year of 2013
20 and 2014. It is coming down towards the end with the last
21 applications supposed to be in by August 1st of this year.

22 One thing we are also doing is looking at
23 potential energy savings as if a program is extended through
24 2029 to meet our doubling efforts. For AAEE and baseline
25 forecast overlap, there is some potential because there are

1 opportunities to use different rebates from utilities to
2 meet the -- the savings investment ratio for compliance with
3 Prop 39.

4 For the bottom up approach, the Proposition 39
5 data sets will be analyzed at a more granular level to
6 consider variations in savings potentials beyond the basic
7 assumption, with the calculation approach to estimate energy
8 savings potential for the program. Again, that would be --
9 even though it's ending, we're going to look at it as if it
10 was going to continue on through 2029.

11 The Energy Conservation Assistance Act, also known
12 as ECAA, is a zero or a one percent loan -- or interest
13 loans offered to schools, cities, and counties to finance
14 energy upgrades. Budget is limited to pay back of
15 outstanding loans and effusions from legislation. There is
16 potential overlap and -- well, actually, there is overlap
17 with baseline and possibly AAEE. The ECAA program has been
18 around for a very long time, and so with that it's already
19 been taken into account in the baseline. And so, with that,
20 we'd be looking at any funding that could be above what's
21 already being given and what's being handed out, whether
22 it's getting the money back and redistributing it to other
23 loans or if legislation increases the amount of money being
24 given.

25 For this they're going to use a refined top down

1 approach, confirm the overlap of savings claimed by existing
2 targets and apply different scenarios to the ECAA program
3 variables to inform the extent of incremental savings
4 available.

5 For the Low Income Weatherization Program, it's a
6 statewide program funded by the Greenhouse Gas Reduction
7 Fund through California cap and trade auction proceeds and
8 implements energy efficient measures in low income and
9 disadvantaged communities. There is possible overlap of a
10 baseline demand forecast because it was realized in 2015
11 when the forecast was done.

12 For the bottom up or refined top down approach, if
13 more data could be collected from the Program Agency or from
14 publically available databases, energy savings potential
15 will be updated through refined calculations. If savings
16 measures mappings are impossible to acquire, more complex
17 analysis undertaking will be required to achieve more
18 accurate saving predictions.

19 The Water Energy Grant Program is also funded by
20 the Greenhouse Gas Reduction Fund and operated by the
21 Department of Water Resources. It is the statewide program
22 to promote reduction in greenhouse gas emissions primarily
23 in the residential and non-residential sectors and
24 particularly in disadvantaged communities. Overlap is
25 possible with the baseline demand forecast, again, because

1 it was an existing program during the 2015 baseline
2 forecast.

3 For a bottom up and refined top down approach, to
4 the extent that more data can be collected from the Program
5 Agency or from publically available databases, energy
6 savings potential will be updated through refined
7 calculations and will apply data analytics to evaluate
8 technical potential of energy savings based on different
9 scenarios and trends that may be relevant from 2015 through
10 2029.

11 The Energy Savings Program is administered by the
12 Department of General Services, provides funding to state
13 agencies to fund energy efficiency retrofits in their
14 buildings through the Energy Efficiency Property Revolving
15 Fund. There is potential saving overlap with AAEE. So in
16 order to reduce the cost of the loan, some utility rebates
17 may be used while participating in this program and causing
18 the overlap.

19 For a refined top down approach, future impacts to
20 the program based on the potential or likelihood of changes
21 in funding reduce savings associated with diminishing
22 returns in lower priority buildings and potential for
23 improved savings associated in improved technology and codes
24 and standards.

25 Move on to the behavioral and market

1 transformation programs, statewide benchmarking and public
2 disclosure program. That's part of AB 802, the smart meter
3 data analytics, behavioral recognition operations savings,
4 energy asset rating, and fuel substitution.

5 So for the statewide benchmarking and public
6 disclosure program, the Energy Commission has proposed
7 regulations that require that owners of most building larger
8 than 50,000 square feet to report building level energy
9 usage to the Energy Commission annually, with commercial
10 buildings beginning in 2018 and residential building
11 beginning in 2019. It should be noted that the proposed
12 regulations will make increased information available but
13 will not require any building improvements.

14 For AAEE and the baseline, it is possible because
15 the regulations are required by statute, AB 802, but not yet
16 adopted, the savings may be attributable to the benchmarking
17 and public disclosure program. It is possible for some
18 overlap with AAEE if included in Navigant's 2018 potentials
19 and goals study.

20 For the bottom up approach, Staff estimated the
21 portion of the disclosable buildings for which owners will
22 likely have audits performed and make the building
23 improvements and multiplied this by a likely per building
24 savings to calculate energy savings that may be attributable
25 to this program.

1 This estimate excludes those savings attributable
2 to the local benchmarking and public disclosure programs
3 already in place, all of which are more stringent
4 requirements than those proposed for the statewide program.

5 So I do want to show there was a question. We did
6 change one of the titles of the slides to Smart Meter and
7 Controls Program. This does have smart meter data
8 analytics, as well as the program that I'm going to speak on
9 next. This one is specifically typical measures for smart
10 meter data analytics result in behavioral and operational
11 savings and are included in the methodology for behavioral
12 recognition and operations savings. This also includes from
13 the 2016 action plan update the Energy Commission's efforts
14 with the industry stakeholders to establish minimum
15 qualification standards and evaluation protocols for
16 eligible, low and no-touch home energy assessment tools.

17 The plan is to leverage the smart meters that have
18 been installed in California to encourage reduction in
19 energy consumption by providing consumers with realtime
20 information on the cost associated with energy consumption
21 at the time, saving energy consumption through more
22 conscientious decision making. Adopted a narrow
23 interpretation of smart metering just for this particular
24 section because it's going to be included in the one after.

25 That is the employment of a direct internet of things or

1 otherwise connected device to avoid overlap with behavioral
2 recognition and operational savings.

3 Overlap with the energy savings with AAEE is
4 possible. It's unlikely that any energy savings from this
5 shift would be captured in the baseline forecast. However,
6 the most recent updates to AAEE show that the utilities
7 companies anticipate offering incentives for energy savings
8 that come as a result of potentially similar behavior
9 changes.

10 For a refined top down approach, it will be
11 refined based on additional data and feedback from
12 stakeholders.

13 Behavioral and retrocommissioning operational
14 savings, this is a change in operating practices or
15 technological settings. For AB 802 and Senate Bill 350
16 require the California Public Utility Commission and the
17 Energy Commission to work together to include behavioral
18 retrocommissioning and operational savings in their
19 prospective programs. These programs target improvements
20 that either result in accomplishing the same work more
21 efficiently or reducing, eliminating energy use without
22 relying on installation of new energy efficient
23 technologies.

24 For behavioral, an example of that would be
25 shifting the appliance and equipment use to off peak hours.

1 For retrocommissioning, it would be to have equipment
2 checked to see if it is running at peak efficiency. And an
3 operational example would be to train building operators on
4 how best to run their buildings most efficiently with their
5 appliances and equipment.

6 Potential programs include smart meter data
7 analytics, as mentioned in the slide before, such as
8 realtime feedback, online portal or in-home display.
9 Looking at programs to 2016 to 2029 that are not included in
10 that 2018 potentials and goals study. One of the nice
11 things about these, many measures do not require any
12 equipment upgrades. This makes it very cost effective.

13 There is overlap of energy efficiency savings with
14 AAEE or that it's possible anything included in the 2018
15 potential and goals study by Navigant. For a refined top
16 down approach, estimates will be refined based on additional
17 data.

18 For the energy asset ratings for residential and
19 non-residential, there is a residential energy asset rating
20 that's current. However, there is not one for the non-
21 residential. So when we talk about the non-residential,
22 we're talking about if there was a potential non-residential
23 energy asset rating, there are potential savings that could
24 be attributed to that.

25 Both programs would be designed to determine an

1 asset rating of new and existing buildings that measure
2 building performance and be decoupled from operational
3 detail such as operating hours and building controls to help
4 educate the building owner to understand and follow through
5 with energy efficiency upgrades.

6 Energy asset ratings characterize the major energy
7 use of the building through surveying and energy modeling.
8 Potential -- or possible overlap with AAEE with baseline if
9 similar programs realize savings during the time of
10 calibration, which is 2015, and for AAEE, it's possible that
11 similar programs are included in the next version.

12 For the bottom up or refined top down approach,
13 based on additional data, look at what could be the ideal
14 case for potential energy savings from residential and non-
15 residential asset rating as if both programs are in effect.

16 Fuel substitution captures energy savings that can
17 be achieved at the site level by substituting one utility
18 supply fuel for another, in particular, natural gas to
19 electricity. Potential overlap with AAEE if new utility
20 programs are expected to offer fuel substitution measures.
21 A bottom up approach would be used to finalize the list of
22 electrification measures to be included in more thorough
23 electrification analysis. Accordingly, a bottom up energy
24 modeling approach will likely be necessary to realistically
25 estimate potential natural gas savings associated with

1 electrification.

2 Moving on to the next section, which is our
3 industrial and agriculture. So at this time, we didn't have
4 much opportunity to find or create a methodology for
5 industrial and agriculture. There is potential untapped
6 savings for both. One thing we've noticed for both
7 industrial and agricultural, you'll see the percentages put
8 together, they do use about 25 percent of the energy use in
9 the State of California. One thing Staff and NORESKO could
10 be looking at would be the 2018 potentials and goals studies
11 that was mentioned and what they have done for industrial
12 and agriculture. And there's just the numbers for
13 agriculture. So, again, we'd be looking at the 2018
14 potentials and goal study done by Navigant to see what they
15 did, the calculations and what could be additional
16 incremental above that.

17 So timeline for what you can expect, in July we
18 are looking at the Energy Assessments Division and the
19 Efficiency Division posting our separate papers for public
20 comments. In August they are supposed to be combined as a
21 draft Commission report. September would be the next
22 workshop on the draft Commission report, with an October
23 business meeting adopting the Senate Bill 350 targets.

24 This is my contact information, and for any
25 questions I was going to invite Dimitri from NORESKO, and we

1 have Matt on the phone to help answer any questions on the
2 methodologies being used.

3 Thank you.

4 John?

5 MR. CHANGUS: Jonathan Changus, Northern
6 California Power Agency. I have a couple of different
7 questions, and I'll try and -- I'll follow up more in
8 written comment, but with codes and standards, the
9 conversation today has really touched on as variety of
10 different programs beyond, you know, buildings, state,
11 federal, appliance, the advocacy work that IOUs have for
12 sure been doing for years and that POUs are looking to get
13 into as well. And so I guess a clarifying question is in
14 the paper we'll be seeing in July, will there be more of a
15 discussion of the specific different types of programs and
16 activities that get captured between all that, because
17 there's a lot of activity there, and in all candor, it's
18 been really difficult as POUs looking to try and get
19 involved in the program, understanding numbers and values
20 associated with potential savings and what's attributed,
21 there's a lot of work that goes on I think kind of behind
22 the scenes, and if you're in the middle of those processes,
23 then you probably know where to find those numbers, but for
24 a lot of other folks, it can be very very difficult. And so
25 hopefully in the papers there's an opportunity to try and

1 explore just what the different options are with the
2 different types of programs because it's not just the white
3 papers and the case studies. They go into what gets
4 adopted. There's then the follow up thereafter and the
5 implementation, and I think trying to understand what the
6 different potential is for those different activities is
7 very helpful in guiding kind of how we compliment and how we
8 get engaged going forward. So that's kind of the first
9 comment.

10 With regards -- I didn't -- any response?

11 MS. BROOK: Let's stop there just for a second.
12 So it sort of sounded like you wanted us to help you find
13 your way through Title 24. So sorry to be like cutting to
14 the chase. Is that -- like I'm having a hard time figuring
15 out are you just asking us that if -- for example, if we say
16 "Oh, we're going to go 15 percent above Title 24," that you
17 would have a clue about what that meant? Is that what you
18 mean, like -- or --

19 MR. CHANGUS: I think it's important to understand
20 what the specific activities are because there's what, six
21 or so advocacy tranches, right? It's talking to --

22 MS. BROOK: Right.

23 MR. CHANGUS: -- planning departments and
24 educating those folks. It's talking to builders and
25 architects and informing those folks, and those are

1 different activities that help improve compliance with codes
2 and standards could be sources of savings.

3 MS. BROOK: Okay. Okay. So I think what you're
4 saying is articulate to the best extent possible the scope
5 of what we're assuming for the potential.

6 MR. CHANGUS: Yeah, what are the different -- yes.

7 MS. BROOK: Because just as an example, my guess
8 is we won't be saying, "Oh, if -- if you did advocacy -- if
9 you did code enforcement so much better, you local
10 government, you could -- we would assume you would get 15
11 percent better compliance or something." I think we're more
12 likely to look at what the projection is in terms of
13 CalGreen, for example, for 2019 and try to estimate the
14 potential for that from a technical perspective and not --
15 and you would have an opportunity then to say oh -- see, the
16 problem is I think for Title 24 specifically is the
17 assumptions about compliance are all over the map and we
18 don't agree within this room even within the Energy
19 Commission what those numbers are, right. So it's going to
20 be really hard to say, oh, and if -- we're going to identify
21 this wedge of local government enforcement enhancements
22 let's just call them, and it's going to get us X percent
23 better compliance because don't have a baseline of
24 compliance that's rock solid in which to bump up.

25 Do you see what I'm saying?

1 MR. CHANGUS: Yeah, I think -- I think that's
2 fine. That's fine. Just whatever it is you go forward
3 with, whether there's a shortage of quality baseline with
4 which to make assumptions going forward, that would be
5 useful. I think part of it is there's like a -- there's
6 like a -- there's a CPUC FAQ sheet. It's like two pages
7 long, that lists six different bits and the amount of
8 funding and investment that each of the IOUs contributed to
9 each of these codes and standards activities. I'm assuming
10 that somewhere someone's done some manner of energy savings
11 associated with those level of investments for cost
12 effectiveness purposes if nothing else. I just don't know
13 what they are. I don't know what the energy savings with
14 those activities is assumed to be if there is an assumption,
15 and I don't know if that's something we're going to go over
16 moving forward. So, if we're not, that's fine. I'm just
17 trying to understand when we say codes and standards and
18 we're saying that the utilities, POU and IOU, there's no C
19 and S component attributed to those POU programs and IOU
20 programs. It's all captured in codes and standards. Then
21 we kind of need to know, okay, well, what does that actually
22 mean, what are the activities associated with codes and
23 standards --

24 MS. BROOK: Okay.

25 MR. CHANGUS: -- that are being claimed, and if

1 there's stuff that's not being claimed, then maybe there is
2 room for a conversation about, well, this is a specific
3 action, this is a specific investment. We had, you know,
4 this amount of resources. We put this amount of money to
5 this codes and standards activity, that it doesn't sound
6 like maybe you felt comfortable including. Is that
7 something we should continue to talk about going forward?
8 If there something we can -- or if there's something that we
9 can provide you a comfortable baseline, because I believe
10 there's going to be more of a POU interest moving forward
11 with codes and standards types activities. As was mentioned
12 earlier, we're not going to be able to -- we don't have --
13 the smaller communities may not be funding the actual case
14 studies themselves.

15 MS. BROOK: Right. Right.

16 MR. CHANGUS: But that would be -- that's one
17 activity. There's a lot of other things we might be able to
18 do --

19 MS. BROOK: Right.

20 MR. CHANGUS: -- for which we could agree there's
21 going to be some manner of documentable or energy savings.

22 MS. BROOK: Okay.

23 MR. CHANGUS: That we're not doing today.

24 MS. BROOK: Okay. I think that would be great.

25 And I think as a starting place, I would encourage you to

1 put comments into the docket that say what you want us to do
2 and what you can help with because my gut says that we
3 weren't going there. We weren't going to say if you put
4 resources into your enforcement activities, you're going to
5 increase compliance this much and here's the wedge. So we
6 -- not to say that we can't. I just don't think we -- we
7 were going for more of the engineering perspective of the
8 statewide code and bean counting up the measures and getting
9 -- you know, multiplying that by climate zones, blah, blah,
10 blah. So it's completely different, and not that they're
11 mutually exclusive at all. So I would encourage you to put
12 those comments into the docket, and you guys can --

13 MR. CONTOYANNIS: I want to make a comment. This
14 is Dimitri from NORESKO. So, just to clarify a point that
15 you made, the savings from codes and standards are accounted
16 for in both the utility savings as well as the non-utility
17 savings, and the reason why that's the case is we're relying
18 on the PG study done by Navigant for the CPUC, and in that
19 study they only account for codes and standard savings
20 through the 2019 code cycle. So that falls within the so-
21 called bottom wedge, the AAEE wedge. Any additional codes
22 and standards savings for future code cycles are not yet
23 accounted for in the PG study, and therefore, they fall in
24 the middle wedge, which is the incremental savings that are
25 not currently calculated by the utilities savings. So

1 hopefully that clarifies at least one point.

2 MR. SAMUELSON: Well, I also did want to clarify
3 for the 2019, the new construction was in the bottom wedge.
4 That was utility rate payer funded where we were only doing
5 the additions and alterations for 2019. So the entire
6 standard is for anything after that, but that was -- 2019
7 was a unique situation.

8 MS. GIYENKO: Elena Giyenko, Demand Analysis
9 Office. Again, I want to repeat again the docket is 17 IEPR
10 06, comments due by June 30th, and all your comments will be
11 considered in papers because we are currently writing them.
12 So if you want to, you know, provide input, we will
13 definitely consider that. The two papers will be published
14 in July, and the final paper will be published in August.

15 MR. CHANGUS: The second tranche of questions --
16 well, just question, financing. So CAFA, the state
17 treasurer's office also has some financing programs. Chief,
18 in particular, comes to mind. I know that's funded with IOU
19 dollars. So I wasn't sure if that might get captured
20 somewhere else, but it wasn't in the list, and I was just
21 curious if there was a specific rationale for that or if
22 it's something that we should include in our comments as
23 potentially something to add.

24 MS. BROOK: Well, I guess maybe you should help us
25 understand. I would assume that if it's financed with IOU

1 rate payer dollars, then it's included in the goals and --
2 the goals in the IOU utilities.

3 MR. CHANGUS: Okay.

4 MS. BROOK: But if that's not the case or somebody
5 knows --

6 MR. SAMUELSON: In general for financing we're
7 finding out there's a chance for potential overlap so that
8 that is being taken into account, and I know with CAEATFA
9 they do work with the PACE loan program. I'm not familiar
10 with any of the other financing ones that we deal with that
11 they would be in charge of.

12 MR. CHANGUS: Okay. And I guess in a similar line
13 then two final bits would be the Energy Upgrade California
14 Program which I know is kind of co-branded with CUC and
15 CPUC, but also relies on IOU funding, and then there's a
16 number of strategies from the Existing Buildings Energy
17 Efficiency Action Plan that a lot of that is in financing,
18 but there's a lot of other strategies that were envisioned
19 for the sole purpose of achieving additional energy savings,
20 and so is there a plan to capture more of the EBEE
21 strategies not listed here today?

22 MS. BROOK: I guess what I would say -- this is
23 Martha Brook -- is that what staff is proposing is our first
24 effort. So they have definitely -- I mean, the asset rating
25 came from the action plan. The behavioral -- you know,

1 smart meter data analytics came from the action plan. It's
2 all coming from that action plan. So if -- this is
3 definitely why we are having this workshop is if we've
4 missed a big tranche of programmatic activity that's going
5 to achieve additional savings, absolutely, let us know.

6 MR. CHANGUS: Thank you.

7 MS. BROOK: But -- but it would be great if you
8 were specific and didn't say "What about that all that other
9 stuff in the action plan?"

10 MR. CHANGUS: Yeah. Duly noted.

11 MR. CONTOYANNIS: A general comment to that as
12 well. You know, if there are items in the action plan that
13 are currently captured in the utility savings in the PG
14 study, you know, if you have a list and you want to clarify
15 whether they are included in the analysis, send them along.
16 You know, either we can verify that, yes, they're part of
17 the analysis that's being done right now or, yes, they've
18 been included in the CPUC Navigant study, you know, if there
19 are things that we're missing, we have a really good working
20 relationship with the Navigant CPUC team right now, and we
21 can get answers for you on that.

22 MR. SION: Arman Sion with LADWP. For the grand
23 majority of the points that you mentioned, there is a
24 potential overlap, with AAEE and rate payer funded programs
25 and such. I was wondering if there was any considerations

1 made for how it's going to be quantified or how that overlap
2 will be quantified. Maybe Dimitri might be able to answer
3 that.

4 MR. CONTOYANNIS: Yeah. So it's certainly a work
5 in progress, and we don't have all the answers quite yet.
6 So I'll talk to you a little bit generally about our
7 methodology. You know, our approach for each of the
8 programs that were discussed here today is to gather all of
9 the publications that document the programs, you know, what
10 measures are covered, what building types are effected, and
11 what sort of, you know, funding is available for each
12 program and what kind of documented energy savings has been
13 published. And, you know, as you might expect, the level of
14 detail is kind of all over the map. But what we're trying
15 to do is develop trends to calculate, you know, the uptake
16 of these programs. You know, ideally what we could do is,
17 you know, dollars in versus energy savings out, but that's
18 not always possible in every case.

19 So once we have that sort of metric, you know, the
20 next step is to try to identify the overlap between
21 programs. And, you know, to date we're making some very
22 broad assumptions. You know, we're still pretty early on in
23 the process, but what we intend to do as, you know,
24 something that we're working on right now and intend to
25 continue to dig into, is to request that type of information

1 from the CPUC, you know, what is the uptake of these
2 programs, you know, what -- from a financing program
3 perspective, you know, what percentage of those projects
4 also participated in a utility incentive program. There's a
5 lot of outstanding questions but I think that the answers to
6 those questions will help identify the percentage assignment
7 of savings to each program.

8 So, again, you know, I wish I could stand up here
9 right now and say this is the exact answer, but essentially,
10 you know, we've developed a matrix of, you know, savings per
11 program and then, you know, potential overlapping programs.

12 You know, it's a pretty broad matrix with a bunch of
13 different dimensions. So, you know, we've got some
14 placeholders numbers in there in terms of percent overlap.
15 We intend to refine them over the next two months prior to
16 the next workshop.

17 MR. SION: Okay. So a follow-up to that was
18 actually something that I was thinking of. If, you know,
19 the Energy Commission will be relying on utility data to
20 parse out, you know, whether, you know, they've been
21 participating in other programs, financing options and so
22 on. I think it would be pretty a pretty difficult or
23 significant list for individual utilities to figure that
24 out, and how would they gain that information by self-
25 reported numbers from the customers and so on? It will be

1 difficult to parse out. So, you know, I'm curious to see
2 how that all, you know, pans out.

3 MR. GOETZ: Brian Goetz, Southern California
4 Public Power Authority. Obviously you've thought long and
5 hard about this, but there's one thing I'd like to caution
6 you about is that as you're developing your forecast, not
7 all of the municipal utilities or even the cities in the
8 state are going to be interested in a lot of the financing
9 programs or opportunities. There are a number of our
10 members that aren't allowing PACE financing in their
11 localities. So that's a consideration.

12 I have a couple of members actually when I talked
13 to them about ongoing financing opportunities for energy
14 efficiency programs, they said "We'd love to, but our city
15 council told us we're not a bank. We can't do that." So
16 just a broad based application of a generic assumption that
17 all the cities are going to be able to engage in that
18 framework is not going to be a safe assumption. So we'll
19 address it in comments, but I look forward to seeing how
20 that plays out when the forecasts come out next month.

21 MR. CONTOYANNIS: I agree with that statement.
22 You know, our initial estimates are based on where those
23 financing programs are in place right now with, you know,
24 some modest projected increases. We definitely agree that
25 there are going to be limitations to the uptake of those

1 programs, but thank you for your comment.

2 MR. GOETZ: Fabulous. Thank you.

3 MR. SAMUELSON: Okay. John, you're on.

4 MR. MCQUE: Hi. This is John McQue. I'm looking
5 at slide 20 of Brian's presentation. I don't know if this
6 is a question for Brian or for Martha, but, you know, I'm
7 looking at the statewide benchmarking and public disclosure
8 program. It discusses proposed regulations. I assume that
9 they're enabled by AB 802, and, you know, and this is --
10 and, you know, regards sort of the 800 pound gorilla which
11 is all the existing building stock, and, you know, when I
12 think of, you know, the areas in the country that are
13 probably the most, you know, aggressive on energy efficiency
14 and existing buildings, what comes to mind is New York City,
15 and they have a series of what they call local laws, and so
16 similar to what's here in slide 20 is Local Law 84, which is
17 benchmarking of large buildings over 50,000 square feet.

18 But, in addition, they have a date certain
19 requirement for energy audits and retrocommissioning or
20 control systems for all those buildings greater than 50,000
21 square feet, and it's based on the last digit of their tax
22 numbers. So every 10 years, you know, keep cycling around,
23 and then there's Local Law 88 which requires all these large
24 buildings to have performed lighting upgrades and
25 submetering by 2025, and I assume that, you know, just, you

1 know, how well known this program is in New York City, you
2 know, what's Commission staff thought about some of these
3 other initiatives by, you know, New York City and what sort
4 of comparable thoughts are you guys looking at for
5 addressing the existing building stock? Thanks.

6 MS. BROOK: Okay. So, John, if you could put that
7 on the docket, that would be great. We -- as you know from
8 the staff's presentation, we haven't thought about the next
9 steps after benchmarking disclosure, and I guess the first
10 thing that comes to my mind is with all the different
11 discussions about potential overlap, we might not go there
12 in this first phase of SB 350 just because, you know, we
13 need to do our due diligence to establish preliminary
14 targets that have a sufficient justification that they don't
15 immediately overlap with known and existing programs, and it
16 might be harder to do that with -- with a future program
17 that would just be proposed at this point, but that's all my
18 thoughts for right now.

19 MR. CONTOYANNIS: John, I'll just chime in too to
20 say that the benchmarking program is one where we did assume
21 a fairly significant overlap with other programs. You know,
22 benchmarking in and of itself doesn't result in saved
23 energy, but it does alert the building owner to potential
24 for energy savings. So we assume that there would be
25 overlap with programs like the BROS, as well as utility

1 incentive programs that would directly result from
2 participating in the benchmarking program. So it's kind of,
3 you know, a corollary to the two local laws in New York
4 where one requires benchmarking and then there's another
5 program that actually does something about it. So we did
6 take that into account in our preliminary analysis, and
7 we'll certainly be expanding upon that for the next round of
8 our results calculations.

9 MS. CLINTON: This is Jean Clinton. I'd like to
10 make an observation on the kind of conversation that's been
11 going on for the last hour or so, which is sort of how to
12 dissect the analytical work on setting targets for wedges,
13 and as I was listening to the challenge that the Efficiency
14 Division has taken on, it's sort of a laundry list of
15 different kinds of realities out there that could be somehow
16 looked at in a very matrixy kind of way. And so I wanted to
17 make this observation for whatever it's worth.

18 First of all, it seems as though there's been this
19 clear division of labor up until this point, which is the
20 Assessment Division focuses on the utility type
21 interventions, and the Efficiency Division gets everything
22 else, and good luck in figuring out the overlap. And, as I
23 was listening and to -- to everything that the Efficiency
24 Division is trying to tackle, it -- I saw four -- four
25 dimensions of what you're tackling. One is to identify ways

1 of looking at opportunities by the dollar source, you know,
2 utility dollars, federal dollars, market dollars. Another
3 way you've identified looking at programs is what I would
4 call by program administrator, is it a utility, is it a
5 local government or is it a market player. The third way
6 you're characterizing different types of interventions to
7 look at is if there's a policy or regulatory mandate such as
8 code and standards and ARB -- or district requirement. IOU
9 goals could even be looked at as regulatory requirements.
10 It's like who's holding the stick, and, therefore, who's
11 doing the analysis behind what the stick looks like. And
12 the fourth dimension which I think came out in the comments
13 from -- is it Dimitri at NORESKO -- was, well, you could
14 look at it by building stock and use measures. You could
15 try to look at trends in what's happening sort of in the
16 reality in the marketplace, and so what I think might be
17 useful going forward at least by fall is if the Commission
18 could think about what's the primary scheme that you want to
19 use in analyzing where the opportunities are and maybe
20 what's a secondary scheme, and I asked myself that question
21 as I was sitting here, "What would I vote for?" And I said
22 to myself, "Well, I would narrow it down to two, and one
23 would be by the building stock and use and measures,"
24 because in the long run, if you're going to track progress,
25 I think that will be the say that you are able to track

1 progress. So that's probably a primary consideration.

2 And the second could be to try to track or
3 estimate or measure by delivery intervention method, which
4 would come back to program administrators, what can
5 utilities do, what can local governments do, what would the
6 market do, and that might include financing if it's --
7 wherever it is.

8 So I'm not voting for anything in particular, but
9 I just think it behooves you to think about how you're going
10 to use this information now because it's going to be a
11 herculean task to try to parse through everything that the
12 Efficiency Division has just laid out, and if you can think
13 about your end state and how you're going to use the
14 information, I think it might guide some of the decisions as
15 you go along so you can decide where to focus your time and
16 effort.

17 Thanks.

18 MR. SAMUELSON: Thank you.

19 MR. EARLY: Okay. Thank you, Brian and Dimitri.
20 So do we have additional general public comment? Now is the
21 time to do so in the room. What about on WebEx? Any --
22 sure. Okay.

23 So folks on the Web, if you have general public
24 comments, now is the time to do so and also on the Web.
25 Okay. I don't think we have any hands raised. Okay.

1 So, as has been stated, the due date for comments
2 on the presentations given today is June 30th, 5:00 p.m.

3 All of the presentations given will be docketed. Most are
4 already on the docket. And, again, that's 17 IEPR 06, and
5 then the one or two that aren't yet will be posted shortly.

6 And if you can go ahead and try to, as always, submit
7 comments sooner rather than later, that's extremely helpful.

8 The sooner that we get your written comments, the -- the
9 earlier we can take a look at them and try to make sure that
10 we are addressing them in the papers. And, as has been
11 stated before, there will, of course, be additional
12 opportunity for written comment once the papers are actually
13 docketed in July, and then certainly again when the draft
14 Commission report, which is going to be a combination or,
15 rather, a summary of the two staff papers and also a
16 discussion of the 2030 goal, when that is docketed and then
17 discussed in the workshop in August.

18 So thank you everyone for your participation, and
19 this workshop is adjourned.

20 Thank you.

21 (The meeting adjourned at 3:29 p.m.)
22
23
24
25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 30th day of June, 2017.




Eduwiges Lastra
CER-915

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 30th day of June, 2017.

A handwritten signature in black ink, appearing to read "Barbara Little", is written over a horizontal line. The signature is cursive and somewhat stylized.

Barbara Little
Certified Transcriber
AAERT No. CET**D-520