

## DOCKETED

<b>Docket Number:</b>	17-IEPR-07
<b>Project Title:</b>	Integrated Resource Planning
<b>TN #:</b>	216426
<b>Document Title:</b>	Transcript of 02/23/2017 Joint Agency Workshop on 2030 Greenhouse Gas Emission Reduction Targets for Integrated Resource Plan
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	3/7/2017 11:49:20 AM
<b>Docketed Date:</b>	3/7/2017

BEFORE THE  
CALIFORNIA ENERGY COMMISSION

In the Matter of:	)	Docket No. 17-IEPR-07
	)	
2017 Integrated Energy Policy )		Integrated Resource
<u>Report (2017 IEPR)</u> )		Planning

Joint Agency Workshop on 2030  
*Greenhouse Gas Emission Reduction Targets  
for Integrated Resource Plan*

CALIFORNIA ENERGY COMMISSION  
HEARING ROOM A, 1516 NINTH STREET  
ART ROSENFELD HEARING ROOM  
SACRAMENTO, CALIFORNIA

THURSDAY, FEBRUARY 23, 2017  
9:30 A.M.

Reported by:  
Kent Odell

APPEARANCESCEC Staff Present

Heather Raitt, CEC, IEPR Program Manager  
Robert B. Weisenmiller, CEC  
Karen Douglas, Commissioner, CEC  
Janea A. Scott, Commissioner, CEC  
Liane Randolph, Commissioner, CEC  
Jason Ortego, CPUC  
Garry O'Neill-Mariscal, CEC  
Michael Sokol, CEC

Also Present

Michael Picker, President, CPUC  
Rajinder Sahota, CARB  
Jason Houck, CPUC  
Susie Belrin, NCPA  
Ranya DeRivi, SCPPA  
Shana Lazerow, Communities for a Better Environment  
Ray Williams, PG&E  
James Barner, L.A. DWP  
Justin Wynne, CMUA  
Adam Smith, SCE  
Nick Zettel, REU  
Tim Tutt, SMUD  
Kevin Woodruff, The Utility Reform Network  
Dawn Weisz, Marin Clean Energy

## I N D E X

	<b>Page</b>
<b>Introduction and Overview</b>	
Ms. Heather Raitt	5
- Purpose of the Workshop	
- Expected structure for the day	
- Brief overview and background on past activities	
- Public comments and stakeholder interaction	
<b>Opening Remarks</b>	7
Chair Robert B. Weisenmiller - CEC	7
President Michael Picker - California Public Utilities Commission	8
Commissioner Liane Randolph, California Public Utilities Commission	10
Commissioner Karen Douglas - CEC	
Commissioner Janea A. Scott - CEC	
<b>Overview of Electricity Sector GHG Target in the Scoping Plan Update and the Interagency Process to Establish GHG Planning Targets for IRP</b>	
Rajinder Sahota, California Air Resources Board	12
<u>Discussion:</u>	
President Michael Picker	25
<b>Panel on Defining the Sector-Wide GHG Planning Target for IRP</b>	
	71
<u>Staff Presentation:</u> Jason Ortego, California Public Utilities Commission	31
<u>Panel Discussion:</u>	
<i>Moderator: Jason Houck, California Public Utilities Commission</i>	34
Tanya DeRivi, Southern California Public Power Authority	35
Susie Berlin, Northern California Power Agency	45
Ray Williams, Pacific Gas and Electric	51
Shana Lazerow, Communities for a Better Environment	57
James Barner, Los Angeles Department of Water and Power	61
<u>Discussion:</u>	66

## I N D E X

	<b>Page</b>
<b>Panel on Dividing the Sector-Wide GHG Planning Target Between the CPUC's and Energy Commission's Respective IRP Processes</b>	
<u>Staff Presentation:</u> Gary O'Neill-Mariscal, California Energy Commission	93
<u>Panel Discussion:</u>	
<u>Moderator:</u> <i>Michael Sokol, California Energy Commission</i>	96
Justin Wynne, California Municipal Utilities Association	96
Adam Smith, Southern California Edison	102
Nick Zettel, Redding Electric Utility	108
Tim Tutt, Sacramento Municipal Utility District	114
Kevin Woodruff, The Utility Reform Network	119
Dawn Weisz, Marin Clean Energy	121
<u>Discussion:</u>	127
<b>Public Comments</b>	133
<b>Closing Remarks</b>	
Adjournment	135
Reporter's Certificate	136
Transcriber's Certificate	137

## 1 P R O C E E D I N G S

2 February 23, 2017 9:35 a.m.

3 MS. RAITT: Good morning. Good morning and  
4 welcome to today's Joint Agency Workshop on the 2030  
5 Greenhouse Gas Emission Reduction Targets for the  
6 Integrated Resource Planning. It's part of the IEPR  
7 Proceeding for 2017. I'm Heather Raitt, the Program  
8 Manager for the IEPR.

9 Just, I note we still have some seats  
10 available today, but if we do get full there is  
11 overflow seating in the -- across the atrium in the  
12 Imbrecht Hearing Room. I'll quickly go over some  
13 housekeeping items.

14 We have restrooms outside the doors. If  
15 there's an emergency and you need to evacuate the  
16 building, please follow staff to Roosevelt Park, which  
17 is across the street diagonal to the building. Please  
18 be aware that today's Workshop is being broadcast  
19 through our WebEx Conferencing System, and that it is  
20 being recorded.

21 We'll post an audio recording in a couple days  
22 and we will also have a written transcript that'll be  
23 posted in about a month. We will have an opportunity  
24 at the end of the Workshop today for public comments,  
25 and we're limiting comments to three minutes per

1 person, please.

2           For those in the room who'd like to make  
3 comments, please fill out a blue card, and you can give  
4 it to me or the Public Adviser who's in the back of the  
5 room. When it's your time to speak we'll call on you  
6 and ask you to come to the center podium to make your  
7 comments in the microphone.

8           It's also helpful to give the Court Reporter  
9 your business card. For WebEx participants, you can  
10 use the raise your hand function in WebEx to tell our  
11 coordinator that you'd like to make a comment during  
12 the public comment period, and then we'll either relay  
13 your comment or open a line at the appropriate time.  
14 And we'll take the phone-in participants only at the  
15 end.

16           And for anyone who is in the Imbrecht Hearing  
17 Room during the public comment period, we'll ask that  
18 you do come into here to make comments. The Imbrecht  
19 Hearing Room is only for listening to the Workshop and  
20 seeing the presentations.

21           Materials for this meeting are available on  
22 our website and also at the entrance to the hearing  
23 room. Preliminary comments are requested February  
24 21st, and final comments we're requesting by March 9th,  
25 and all written comments will be part of the public

1 record for this IEPR Proceeding.

2           The notice to this Workshop provides  
3 instructions for how to submit comments, and with that  
4 I'll turn it over to the Commissioner for opening  
5 remarks. Thank you.

6           CHAIRMAN WEISENMILLER: Good morning. Chair  
7 Weisenmiller. I'd like to thank everyone for coming  
8 today and their participation. I would remind  
9 everyone, I think the Governor's terminology is that  
10 climate change is the existential threat to us at this  
11 stage.

12           And obviously, one way to deal with that is  
13 decarbonization of our society, and basically, the ARB  
14 through the Scoping Plan has been struggling with how  
15 to basically come up with a plan to, between now and  
16 '20, start this movement to decarbonize our economy.

17           And as part of that they're coming up with  
18 allocations. They have a draft at this point --  
19 certainly, we recommend everyone's participation there  
20 -- but a draft that goes through the allocations across  
21 our various sectors.

22           Today, we're looking at the implications on  
23 the power side, and certainly welcome the participation  
24 of the ARB and the PUC. The challenge for the PUC and  
25 the Energy Commission is, given the targets for the



1 power sector, how are we going to get there by 2030.

2           And the way we're doing it in techno speak is  
3 Integrated Resource Planning, and certainly, what we  
4 need to come up with is not just a target for the power  
5 sector, but then allocate that between the IOUs, which  
6 are regulated by the PUC, and the PUC, and the POU's,  
7 which are regulated, although in a much different  
8 fashion by the Energy Commission.

9           And so in issue is what's the target. What's  
10 the allocation between the responsibility of the two  
11 agencies, and then ultimately, we're going to have to  
12 look at the allocation among the IOUs, CCAs, all the  
13 various power entities in the state, and come up with  
14 the plans on how between now and 2030 they're going to  
15 meet our goals.

16           So again, it's a significant undertaking, but  
17 very, very critical to the state, and I'm sure as we go  
18 into it we're going to find all kinds of issues on  
19 accounting and everything else as we try to come up  
20 with the optimal way to make these reductions. Mr.  
21 Picker.

22           PRESIDENT PICKER: I think this is a very  
23 primary point of discussion for the three agencies who  
24 are concerned with the Governor's goals around reducing  
25 greenhouse gas emissions in California. We've

1 patiently been rebuilding the CPUC as the agency that  
2 provides the infrastructure that helps us to drive  
3 carbon out of California's economy.

4           In that challenge we will have to address the  
5 fact that the electric industries are roughly 20  
6 percent of the carbon emissions in California's  
7 economy. Use of gas in buildings and industry, for  
8 example, for heating and cooking in people's homes, is  
9 30 percent, but 40 percent of the carbon emissions here  
10 in the State of California come from transportation.

11           So from that the importance of today's  
12 discussion is that our first choice of fuel in these  
13 industries will rapidly become clean electricity, clean  
14 electricity for transportation, clean electricity for  
15 meeting people's needs in buildings and industry and  
16 that all starts with a number.

17           We need that number to focus on which  
18 infrastructure is primary to the task. We need that  
19 number to figure out how we use all of the technologies  
20 that are tactics. Renewables are themselves not a  
21 goal. They are simply a tool that we use to drive down  
22 carbon in the electricity industry so that we can  
23 provide that clean fuel in these other industries.

24           How do we actually make it work? What are the  
25 best choices to have a reliable system that actually

1 provides that clean, electric fuel to help replace the  
2 use of carbon driven fuels in other industries? And  
3 how do we actually determine cost-effectiveness?

4 Without that number we can't get started. I  
5 don't think that the challenge is to litigate this  
6 forever. I think the challenge for us is to decide the  
7 adequacy of the data before us to actually make a  
8 decision. So I look forward to your comments today.  
9 Thank you.

10 COMMISSIONER RANDOLPH: Thank you. I'm Liane  
11 Randolph, from the CPUC, and I just wanted to follow on  
12 Chairman Weisenmiller and President Picker's comments  
13 by talking a little bit about process. We have been  
14 asking a lot of our participants in the IRP process and  
15 the Scoping Plan.

16 Y'all have put in a tremendous amount of work  
17 and will continue to put in a tremendous amount of work  
18 in helping us work through these challenging issues.  
19 The three agencies, the PUC, the CEC and ARB, have been  
20 working very closely to try to define the right process  
21 to come up with these targets.

22 We need to coordinate in a manner that  
23 leverages our unique expertise in our respective  
24 jurisdictions. And so it's been challenging working  
25 through that process, but we're making some good

1 progress and this Workshop today I think will move us  
2 quite along the way of getting to the point where we  
3 are able to give more specific guidance about our  
4 targets and how we're going to get there.

5           Before we can define the targets or the rules  
6 that apply to specific entities, we need to develop an  
7 understanding about what planning targets are  
8 appropriate for the electric sector as a whole. And so  
9 the goal of this particular Workshop is to help us  
10 explore what targets in the IRP are reasonable for the  
11 electric sector over time.

12           And so we have this -- as you look at the  
13 Agenda we have it kind of broken up into two key  
14 questions: What electric sector greenhouse gas  
15 planning targets should serve as the basis for our IRP  
16 processes, and, how should the PUC and CEC divide up  
17 the sector targets as we each work through our  
18 respective IRP process for our regulated entities.

19           So we appreciate your work and diligence and  
20 participation in this Workshop and look forward to the  
21 discussion.

22           CHAIRMAN WEISENMILLER: Thank you.

23           MS. RAITT: Great. So our first speaker is  
24 Rajinder Sahota, from the California Air Resources  
25 Board.

1 MS. SAHOTA: Good morning, Chair Weisenmiller,  
2 Commissioners, President Picker. I just want to thank  
3 CPUC and CEC for inviting us to be here this morning  
4 and participate in this Workshop. I'm here  
5 representing ARB. I know a lot of the folks in the  
6 room.

7 We've been working on the Scoping Plan  
8 together, or the Cap-and-Trade Program for several  
9 years now together. But I'm also seeing some new  
10 faces, and we will all get to be very close friends  
11 over the next year or so as we work through the IRP  
12 process.

13 So there are two main topics that I'm going to  
14 talk about today, and that is really the interagency  
15 process that Commissioner Randolph alluded to, and then  
16 the Scoping Plan Update. The Scoping Plan Update is  
17 timely for today, because there is a proposed plan out  
18 on the street.

19 We are soliciting comments on that right now  
20 and I would encourage folks who haven't seen it to go  
21 to our website. So what does SB 350 require? It  
22 clearly requires ARB, CPUC and CEC to work together to  
23 reflect a electricity sector target, a planning target,  
24 and individual LSE targets.

25 I know that we at ARB have been getting lots

1 of questions about, what does this mean, what does it  
2 mean when CPUC or CEC puts out a document to solicit  
3 input on the IRP process and how does this all come  
4 together.

5           And so I'm hoping that over the next few  
6 slides I can help illuminate some of that. A key part  
7 of this is that ARB has to have some kind of approval  
8 process, and the ARB process requires public workshops,  
9 a formal proposal for our Board to consider with formal  
10 comment periods and then some kind of ARB Board action.

11           And so as we read SB 350 and as we've been  
12 working through this language with CPUC and CEC, we do  
13 believe at this time that there is a requirement for  
14 ARB to take some kind of formal action at the Board  
15 level.

16           So on the interagency process itself we want  
17 to recognize that all three agencies are going to have  
18 significant and equal roles here in establishing the  
19 sector target and the individual LSE planning targets.  
20 The statutory language clearly puts all three of us in  
21 there together.

22           We each have different expertise to bring to  
23 the table and different input that we can provide here.  
24 We also recognize that ARB has a very specific  
25 statutory process. CPUC and CEC have very particular

1 processes that they need to adhere to.

2 To streamline all of this for everyone that's  
3 participating as an audience member or a potentially  
4 regulated entity, and just to make things easier for  
5 ourselves, we will be trying to facilitate a joint,  
6 informal public process.

7 That would avoid duplication of workshops,  
8 comment periods, materials, and it streamlines the  
9 process for agencies and the stakeholders. As we go  
10 off through this process and each of the agencies may  
11 host workshops, we expect all three agencies to be  
12 present in some capacity.

13 We may not all be presenting or talking at  
14 those workshops, but we will be there in some capacity  
15 to either observe, take notes or help inform on the  
16 materials that are to be presented. Those workshops  
17 may not be noticed as joint workshops.

18 Today's Workshop was noticed as CEC and a CPUC  
19 Workshop. Clearly, ARB is here today. So I know that  
20 there's been some concerns by some folks when they see  
21 workshop notices by CPUC or CEC that somehow ARB is not  
22 part of this process.

23 I want to alleviate that concern. We  
24 definitely have been coordinating quite a bit on this  
25 and we will continue to do so. We will collaborate,

1 like I said, on public materials, jointly review any  
2 comments that are received together, as appropriate.

3 And on ARB's own website we will also have a  
4 dedicated page for the SB 350 IRP process. We will  
5 like to PUC's and CEC's websites as appropriates, and  
6 at some point when we move to the ARB formal process we  
7 will post our materials on that website. So that is  
8 forthcoming.

9 So now, I'm going to move on, into the Scoping  
10 Plan itself. Chair Weisenmiller identified that, you  
11 know, this is something the ARB has been working on.  
12 We've been working on it together with all of our  
13 sister agencies. So it's not just been an ARB process.

14 It's been a joint process, and it started in  
15 the fall of 2015 with a kickoff workshop at Secretary  
16 of State. Most of the folks here were at that  
17 workshop. And so what is the 2017 Scoping Plan? Well,  
18 it's to chart the path to get to 40 percent reductions  
19 in greenhouse gases by 2030 compared to 1990 levels.

20 It builds on our existing infrastructure and  
21 policies that are already reducing emissions to get to  
22 the 2020 target. And it aligns California's climate  
23 ambition with the rest of the country's and in certain  
24 sub-national regions that are looking to take a more  
25 active and leadership role in reducing climate change



1 impacts and mitigating greenhouse gas emissions.

2           The proposed plan draws on the lessons learned  
3 from previous plans. There are two previous Scoping  
4 Plans out there, one from 2008 and another one from  
5 2013. We, in the plan itself, in this one, we propose  
6 to continue our major successful programs.

7           Some of that is in statutory requirements.  
8 The RPS Program, which currently requires 33 percent by  
9 2020 now is asking for 50 percent by 2030. We have the  
10 low carbon fuel standard. So some of these programs  
11 that are already in effect are looking -- we are  
12 looking to enhance those programs, whether through  
13 other mechanisms or as required by statutory  
14 requirements.

15           We want to continue to serve as a model for  
16 other states and jurisdictions around the world. An  
17 RPS program in some capacity has already been adopted  
18 in many states and regions. And so the things that we  
19 do here in California are being noticed and emulated,  
20 and it continues to show our leadership in this area.

21           The proposed plan achieves the greenhouse gas  
22 reduction target and continues to make our communities  
23 and economy more resilient and equitable at the same  
24 time. There is an EJ, environmental justice, aspect to  
25 all of the work that we're doing.

1           In SB 350 there are several provisions that  
2 relate to environmental justice, and so we're going to  
3 be trying to be true to that requirement, as well, and  
4 you will hear from a panelist here later today that  
5 will specifically represent some EJ perspective.

6           The other part is that the Scoping Plan and  
7 the IRP process are really separate. We have been  
8 working on the Scoping Plan for over I think 18 months  
9 now. The IRP process is commencing publicly now. What  
10 we said in the scoping plan was that the work that  
11 we've done there can help inform the IRP process.

12           The Scoping Plan did not lay out any  
13 requirements and it did not lay out any structure for  
14 the IRP process. What we want to do is leverage the  
15 work that's been done by the sister agencies together  
16 in the Scoping Plan process to help inform what the IRP  
17 process looks like. But they are very two distinct  
18 processes and we want to make sure that that's clear  
19 for folks.

20           So there are some objectives in the Scoping  
21 Plan. First and foremost, we need to achieve the 2030  
22 target. We want to get greenhouse gas emission  
23 reductions in state, provide air quality co-benefits.  
24 Obviously, as we move away from fossil fuel combustion  
25 and go to non-combustion sources of power or combustion

1 manufacture -- or non-combustion manufacturing, that  
2 helps there.

3           We want to minimize emissions leakage, which  
4 is really a movement of activity outside the State of  
5 California where on our accounting for California it  
6 looks like the emissions have gone down. All we've  
7 really done is push those emissions outside the State  
8 of California, and from the perspective of the  
9 atmosphere, nothing's really changed.

10           We want to support climate investment in  
11 disadvantaged communities; protect public health;  
12 again, facilitate sub-national and national  
13 collaboration. President Picker alluded to cost-  
14 effective and flexible compliance.

15           We as good regulatory agencies all want to  
16 make sure that we are doing that. And right now, as of  
17 today, as far as I know, there still is a Clean Power  
18 Plan. And so we want to support the Clean Power Plan  
19 and other federal action as it exists or remains to  
20 exist in the near future.

21           And when they're ready to move again we want  
22 to make sure that there's a model here in California.  
23 So here is the proposed Scoping Plan summary. These  
24 are the main policies and measures that we're including  
25 to get to the 2030 target.

1           Of course, SB 350 is one of the big ones here  
2 for the 50 percent RPS, the doubling of energy  
3 efficiency savings, and the IRP is a mechanism to help  
4 achieve those targets that are required in statutory  
5 language.

6           There's SB 1383, which is the Short-Lived  
7 Climate Pollutant Reduction Plan. Those are proposed  
8 plan that's out for comment right now. I think the ARB  
9 Board is hearing that this March at the Board Hearing.

10           There's the Mobile Source Strategy, which is  
11 really about advanced clean car vehicles, heavy duty  
12 vehicles becoming zero or non-zero, and that's really  
13 something that we developed to help achieve our air  
14 quality standards in relationship to health-based  
15 standards at the federal level.

16           We are proposing to continue the low carbon  
17 fuel standard and enhance it from a 10 percent  
18 reduction in carbon intensity in 2020 to an 18 percent  
19 reduction in carbon intensity by 2030.

20           Sustainable Freight Action Plan. This was an  
21 effort that was led out of the Governor's Office. That  
22 was a multi-agency effort. Right now we are proposing  
23 a new refinery measure, which is to try and achieve 20  
24 percent reduction in greenhouse gas emissions in that  
25 sector by 2030 from current levels.

1           And we are proposing to continue the Cap-and-  
2 Trade Program with the trading mechanism and the offset  
3 usage limit of eight percent. And the asterisks  
4 indicate programs that are known commitments and what  
5 we figure -- what we are calling known commitments are  
6 the things that have to be in any proposal that is  
7 proposed by staff to our Board for achieving the 2030  
8 target.

9           They're either statutory requirements or  
10 they're underway or they're programs that we feel we  
11 have the ability to extend and enhance today. The  
12 reason that you're seeing the new refinery measure is  
13 because in AB 197 there's a requirement to try and get  
14 more direct emission reductions at distinct sources  
15 within the state.

16           That includes refineries and other sources  
17 like power plants, but right now, the only sector that  
18 we're identifying is the refinery sector in the Scoping  
19 Plan. The Cap-and-Trade Program, this is one that's  
20 very contentious with some of the environmental justice  
21 community members.

22           We've been asked to look at alternatives and  
23 we know that the Legislature is actively discussing  
24 alternatives, and we want to make sure that we do our  
25 due diligence in showing what alternatives are possible

1 and how the Cap-and-Trade Program actually addresses  
2 all the objectives that we're trying to achieve in the  
3 Scoping Plan, in conjunction with all these other  
4 measures.

5           So in modeling in the Scoping Plan for the  
6 energy sector this slide provides some of the inputs  
7 that we included. Obviously, it's the 50 percent  
8 reduction for the RPS standard, the doubling of energy  
9 efficiency savings in natural gas and electricity end  
10 uses by 2030.

11           It's the decrease in methane emissions by 40  
12 percent by 2030, the behind the meter solar, energy  
13 storage procurement and electrification of the  
14 transportation sector. So this is just a high level  
15 discussion of some of the inputs that we used to model  
16 the energy sector emissions towards 2030.

17           On ARB's website there is a very detailed  
18 document that talks about all the inputs and the  
19 modeling. We actually have the PATHWAYS E3 Model on  
20 our website, and I know some folks have been able to  
21 download it and play with it and look at some of the  
22 detail assumptions and output files from that model. If  
23 you're interested I encourage you to go to our website  
24 and do that.

25           This table is something that is included in

1 the proposed plan, and what it does is it looks at the  
2 Scoping Plan sectors. So we've got the main sectors  
3 here, agricultural, residential, commercial, electric  
4 power in the red box, et cetera.

5 And what we have are the 1990 levels for those  
6 emissions. What we're seeing in the Scoping Plan and  
7 the proposed plan is that we can achieve potentially a  
8 61 to 43 percent reduction in electricity sector  
9 emissions from 1990 levels.

10 The range represents all of the known  
11 commitments in the energy sector, if they perform  
12 perfectly, they're able to start on time, there's no  
13 technical challenges, no cost barriers and there's no  
14 additional statutory requirements; but we're able to  
15 begin those immediately then we would achieve the  
16 maximum that we're seeing in the model, which is a 61  
17 percent reduction.

18 We identified the potential for some  
19 uncertainty. There may be some measures that may not  
20 be deemed cost-effective. There may be some technology  
21 barriers. There may be some technology that doesn't  
22 phase in as quickly as we anticipate.

23 And so the lower range represents the  
24 uncertainty. And in the modeling documents for the  
25 Scoping Plan you can see what the uncertainty

1 assumptions are for each of these policies and  
2 measures. And what you see here is a 61 to 43  
3 production reduction in the electricity sector, and  
4 then the other large sectors.

5 But second from the bottom is the Cap-and-  
6 Trade line. None of those sectors above actually  
7 reflect any contribution that may be achieved in  
8 reductions due to the Cap-and-Trade Program. We  
9 obviously can't guess today where there might be other  
10 opportunities for cost-effective reductions across the  
11 sectors that are covered by the Cap-and-Trade Program,  
12 but I just want to note that there is the potential for  
13 that 40 to 85 million metric tons in 2030 to be  
14 distributed among the sectors above that are covered.

15 So what you're seeing really in the electric  
16 power line here is just the known commitments without  
17 consideration of any benefits of Cap-and-Trade. So  
18 this is the schedule for the Scoping Plan and for the  
19 IRP process from ARB's perspective.

20 This is our current thinking and it's subject  
21 to change, but the Scoping Plan we currently have a  
22 CEQA comment period that's open through March 6. We  
23 are having workshops and through March. There was a  
24 February Board Hearing that was I think last week. It  
25 seems like a blur now.



1           We are hoping to release the final plan this  
2 spring and take it back to our Board for a final  
3 consideration this spring. As far as the IRP process  
4 goes, CPUC, CEC, ARB will be holding informal  
5 processes, letting the processes complete through CEC  
6 and CPUC, and then transitioning into the formal  
7 process by which ARB's Board would take some kind of  
8 action on a sector of planning range and then  
9 individual LSE targets.

10           That concludes my presentation. I'd be happy  
11 to take any questions from the Chair, Commissioners or  
12 President Picker.

13           PRESIDENT PICKER: So I'm curious as to the  
14 overall flexibility of measures that are deemed and  
15 adopted in the Scoping Plan. I'm just going to point  
16 to the Short-Lived Climate Pollutant Plan for purposes  
17 of illustration.

18           Some of the elements of the Short-Lived  
19 Climate Pollutant Plan seem to have vastly, at least on  
20 first examination, underestimated the costs, for  
21 example, of renewable gas, or overestimated the  
22 potential carbon reduction benefits.

23           So as the agency that has the responsibility  
24 for implementing that particular measure, what's our  
25 flexibility if we discover that the costs or the

1 effectiveness don't meet expectations? Do we have  
2 flexibility to shift to other targets that have more --  
3 that are more efficiently achieved, that have lower  
4 cost or that have superior benefits?

5 If as we have this number, how do we -- do we  
6 have the tools that we need to actually achieve the  
7 outcome versus being hung up on the specific tactics?

8 MS. SAHOTA: Well, that's a great question and  
9 I think I have a two-part response to that.

10 PRESIDENT PICKER: Very pertinent.

11 MS. SAHOTA: First of all, the SB 1383 targets  
12 for the 40 percent reductions in high global warming  
13 gases and methane are statutory requirements, but SB  
14 1383 doesn't say exactly how to achieve those targets.

15 PRESIDENT PICKER: Could be easier to change  
16 statute than it is to change the Scoping Plan.

17 (Laughter)

18 MS. SAHOTA: Well, it is still just a plan,  
19 and I think the Legislature recognized that when you're  
20 doing a plan, and we've been saying this, we have some  
21 information available to us today. We're setting out  
22 down a path which we think is the right or the best  
23 path to get to where we need to for 2030, including all  
24 of the different sources.

25 In five years or maybe even less than five

1 years, if directed by any additional statutory  
2 requirements, we will be revisiting the plan. As we  
3 get more information we have an opportunity to update  
4 the Scoping Plan and to maybe adjust how we get to  
5 different targets and goals, or maybe identify  
6 additional needs if the statutory requirements remain  
7 in place.

8 PRESIDENT PICKER: Yeah. I'm just trying to  
9 understand the role of the ARB here, because as you're  
10 primary proponents of SB 1383, as well as the folks are  
11 deeming it as a measure and a requirement in the  
12 Scoping Plan. So I'm just trying to figure out how  
13 we're going to navigate this path.

14 And I'm using that as an example simply  
15 because it comes to mind because we're wrestling with  
16 the issues right now.

17 MS. SAHOTA: So in particular, on the methane  
18 issue or just overall?

19 PRESIDENT PICKER: Overall. I'm just -- just  
20 you know -- one area where I believe the evidence  
21 suggests that the costs are undercounted is methane.  
22 The area where I think the benefits are over-counted is  
23 in forestry biomass and fire fuel reduction.

24 MS. SAHOTA: So the Scoping Plan, again, you  
25 know, is just a plan. I think as we get additional

1 information or we move beyond the Scoping Plan and try  
2 to implement things we will get more information, and  
3 that will feedback into any updates and new work that  
4 needs to be done.

5 I think from ARB's perspective in particular  
6 we're trying to reflect something that is consistent  
7 with statutory requirements, consistent with were our  
8 sister agencies feel we can be, but ultimately knowing  
9 that we have to go back in, talk to all of our bosses  
10 over at GO, I think it's going to have to be a  
11 continuing, shared conversation. I don't think ARB can  
12 make some of these decisions on its own.

13 CHAIRMAN WEISENMILLER: Actually, let me raise  
14 the other big issue, because obviously, Michael point  
15 out that transportation's 40 percent of the greenhouse  
16 gas emissions. When I look at the chart we're talking  
17 about roughly 30 percent reduction there.

18 And so the question, which is certainly  
19 relevant dialogue among the three agencies,  
20 particularly with the PUC, is how to -- and with the  
21 utilities in the IRP process -- is how do we accelerate  
22 the electrification of the transportation sector and  
23 reduce the transportation emissions, with obviously a  
24 lot of implications we'll certainly dive into later on  
25 the accounting issues, if -- presumably if we do that

1 big shift, reduce transportation and increase basically  
2 the electricity sector, how does it all work?

3 I don't know if you have any reaction on that,  
4 particularly given the Governor's goal for the 50  
5 percent petroleum reduction.

6 MS. SAHOTA: So one of the things that we  
7 didn't put into the Scoping Plan was that under the  
8 proposed plan we see about a 45 percent reduction in  
9 on-road gasoline and diesel fuel by 2030. That's  
10 without the Cap-and-Trade effect.

11 So we're almost there to the 50 percent that  
12 the Governor identified in his pillars, in the speech.  
13 I think when it comes to electrification there are  
14 multiple programs that can help support and incentivize  
15 electrification of the transportation sector.

16 Certainly, in our low carbon fuel standard we  
17 have a crediting mechanism, as folks get away from  
18 fossil combustion for on-road traffic and moves towards  
19 electrification. In the Cap-and-Trade Program we're  
20 trying to help quantify what could be an additional  
21 loan burden, an additional compliance obligation under  
22 the Cap-and-Trade Program, and allocate for those  
23 potential emissions so that that cost to support that  
24 transition is somehow compensated for in the context of  
25 an additional burden for the Cap-and-Trade Program.

1           So I think there are some -- there are  
2 recognitions of this need across multiple programs and  
3 we're trying to align all of those to send those  
4 signals that we do want to see enhanced electrification  
5 of the transportation sector.

6           COMMISSIONER SCOTT: I have a question for  
7 you. On the -- let's see -- the chart on page 9 is  
8 kind of a follow-on to the Chair's question.

9           CHAIRMAN WEISENMILLER: Right.

10          COMMISSIONER SCOTT: So if we envision that a  
11 portion of this transportation reductions are going to  
12 come because it's electrified, so we've increased the  
13 demand in our electricity sector, is that counted --  
14 accounted for in the electric power line that you have  
15 there?

16          MS. SAHOTA: Because we're using PATHWAYS and  
17 it's an integrative model there are some interactive  
18 impacts that are picked up. So the more you increase  
19 the ZEV, the more it's reflected in the electricity  
20 sector.

21          COMMISSIONER SCOTT: Okay.

22          MS. SAHOTA: So there are some feedbacks in  
23 the model itself that accommodate and get to that  
24 interactive question.

25          COMMISSIONER SCOTT: Good enough.

1 MS. SAHOTA: Interactive impacts.

2 COMMISSIONER SCOTT: Thanks.

3 MS. SAHOTA: Initial [sic] questions?

4 CHAIRMAN WEISENMILLER: Thanks.

5 MS. SAHOTA: Thank you.

6 MS. RAITT: Thank you, Rajinder. So I'd like  
7 to invite our next -- our panel, first panel to come  
8 up, and there's seats at the table for you with  
9 nameplates. And also, then I wanted to let folks know,  
10 a reminder, that we do have overflow seating in the  
11 Imbrecht Hearing Room, which is directly across the  
12 atrium from this hearing room and you can hear the  
13 presentations from there and the discussion.

14 So if we have everybody, can take their seats  
15 at the front table, and then we can go ahead and have  
16 our presentation from Jason Ortego, from the California  
17 Public Utilities Commission.

18 MR. ORTEGO: Good morning, Chair Weisenmiller,  
19 President Picker, Commissioners. My name is Jason  
20 Ortego, and I'm an analyst with the CPUC, IRP Team in  
21 the Energy Division. I'll be speaking today, just a  
22 few minutes to introduce the topic and to briefly  
23 summarize the issues and the options and the questions  
24 that were presented in the Joint Agency Staff  
25 Discussion Paper on Setting Greenhouse Gas Planning

1 Targets, which was released on February 10th, and then  
2 I'll hand it over to Jason Houck, who will be  
3 moderating the Panel Discussion.

4           So as Rajinder explained, the CPUC, the ARB  
5 and the CEC are working together to define and to  
6 establish the GHG planning targets for the IRP process.  
7 This is a three-step process, the first one being to  
8 define the electric sector target, which is the subject  
9 of this first Panel Discussion, and the second step  
10 being to apportion this target between the CPUC and the  
11 CEC's respective IRP processes.

12           This is particularly important for the CPUC,  
13 which needs to specify a CAISO-wide GHG planning target  
14 for IRP modeling purposes. Staff would need this  
15 number by May of this year to develop its reference  
16 system plan, which will represent an optimal mix of  
17 resources needed to achieve the state's goals.

18           And then the third step is to identify and  
19 specify entity-specific targets, in the CPUC's and  
20 CEC's respective IRP processes in coordination with  
21 ARB. So both the CPUC and the CEC plan to issue  
22 guidance this fall on those targets, and on what needs  
23 to be contained in the IRPs.

24           And for its part, CPUC Staff did release last  
25 November a white paper outlining four different options



1 for establishing LOC specific targets and the form and  
2 the magnitude of those targets and how they could be  
3 represented in the IRP process.

4 But to get this process started the agencies  
5 need to agree on a common electric sector target for  
6 the IRP process. So the first option that we listed in  
7 the Staff Discussion Paper is to use the electric  
8 sector share of the statewide 2030 emissions specified  
9 in CARB's Scoping Plan.

10 So the Scoping Plan is a natural fit for  
11 defining the electric sector target, although it's not  
12 automatically the target for IRP. It might be the best  
13 option, but it's not the only option. If we decide to  
14 go with the Scoping Plan target, the Scoping Plan  
15 specifies an electric sector range for 2030.

16 The range is 42 to 62 million metric tons in  
17 2030. If we go with this option we would need to  
18 specify whether we use one or the other end of the  
19 range, or some number in between. For Option B, Option  
20 B is based on ARB's inventory of GHG emissions, based  
21 on the year 20 -- sorry -- 1990, which serves as a  
22 basis for setting the 2020 and 2030 goals.

23 So under this option you would take the 1990  
24 GHG emissions, which were 431 million metric tons, and  
25 to go with SB 350 you would take 40 percent below that

1 number to get to 260 million metric tons. Then you  
2 would take the most recent inventory, the 2014  
3 inventory, a GHG inventory by ARB, which shows that the  
4 electric sector share of California GHG emissions  
5 comprise about 20 percent of the total economy.

6 And then you would take 20 percent of that  
7 original 2030 target of 260 to get to 52 million metric  
8 tons, and this is conveniently the midpoint of Option  
9 A. So these aren't necessarily the only options, but  
10 we thought that we would use this Panel Discussion to  
11 talk through the pros and cons of these two options,  
12 and to see if there's a better option.

13 So here are a few questions to help facilitate  
14 the discussion. First, what are the pros and cons of  
15 Option A? This is the Scoping Plan option. If we  
16 pursue this option, which end of the range should be  
17 used?

18 Two, what are the pros and cons of Option B?  
19 This is the inventory option. If we go with this  
20 option, I think it's a single number. The third  
21 question is, are there any other options that should be  
22 considered besides these two, and fourth, do these  
23 options adequately account for the increased load  
24 anticipated from the transportation electrification.  
25 And if not, how should that be addressed?

1           So with that I'll hand it over to Jason Houck.

2           MODERATOR HOUCK: Thanks. My name's Jason  
3 Houck, and I'm an Adviser to Commissioner Randolph at  
4 the CPUC. I'll be helping to moderate the discussion.  
5 But rather than introduce all of our panel members, I'd  
6 like to invite them to take three to five minutes to  
7 introduce themselves, and to focus on explaining to the  
8 Commissioners and the public your perspectives on which  
9 of the options that Jason was just discussing might be  
10 best to help the agencies decide on what emission  
11 target is appropriate for IRP.

12           And if there are other options that you have  
13 in mind that Staff hasn't presented, feel free to bring  
14 us those. And if you can, focus on some of the  
15 questions that Jason has kind of teed up here. How  
16 well do these options account for interactive effects  
17 between different sectors of the economy?

18           And so feel free to come share your views.  
19 I'd like to just start by -- not to put you on the  
20 spot, Susie, but you can go first, though, or -- okay.  
21 Tanya, take it away.

22           MS. DeRIVI: Thank you very much. This is  
23 Tanya DeRivi, Director of Government Affairs for the  
24 Southern California Public Power Authority. I was  
25 asked to go first, so I am pleased to do so. What we

1 have tried to do is both answer some of the questions,  
2 and then I was also asked to convey to the  
3 Commissioners what our top two priority issues were.

4           So I've just structured our comments around  
5 that. First, wanted to recognize that the Public Power  
6 Utilities are making significant strides towards trying  
7 to achieve California's ambitious climate change goals.

8           This includes investments, renewable energy  
9 efficiency, energy storage, transportation,  
10 electrification towards achieving the 2030 GHG  
11 emissions reduction target, which will be a monumental  
12 undertaking, both operationally and for potential cost  
13 implications.

14           So our first main takeaway would be  
15 recognizing that SB 350 gives the Air Resources Board  
16 the responsibility of establish the GHG targets, and we  
17 also recognize that for the electricity sector that the  
18 CEC and the CPUC both are to be coordinated with on  
19 that one.

20           And we certainly welcome the interagency  
21 coordination towards studying that energy sector  
22 target. We thought this made the most sense because  
23 the Air Resources Board has the relevant expertise in  
24 GHG emissions reductions programs, both Cap-and-Trade  
25 and the mandatory reporting role, and the Scoping Plan,

1 as well.

2           So soon after SB 350 was enacted in October of  
3 2015, SCPPA asked for a meeting with Air Resources  
4 Board's Staff right during the week of Thanksgiving of  
5 2015 to ask how this was going to be undertaken. And  
6 the questions we had then included, what would the  
7 process be for setting the targets and how will POUs  
8 and the local governing boards be involved in that  
9 process.

10           What factors would be considered in economic  
11 modeling scenarios? How would grid reliability  
12 requirements be accounted for, and the big one, how  
13 will increases in load due to transportation  
14 electrification be accounted for and how will any  
15 crediting developed to account for that shift of  
16 missions fund the transportation sector to the  
17 electricity sector be accounted for, as well.

18           SCPPA was concerned, then, that the 2030 GHG  
19 targets may be used as mandates in other regulatory or  
20 administrative proceedings as quantitative hard  
21 targets, and we were concerned about that because -- as  
22 opposed to using a reduction forecast based on the  
23 performance of a variety of climate change programs,  
24 both at the ARB and the CEC, for example, as well as  
25 our own local governing, planning boards.

1           We recommended then that ARB clearly  
2 articulate that any percent reduction be a planning  
3 goal, which leans me into our priority issue number  
4 two, is that is to set soft targets under the 2030  
5 Scoping Plan.

6           SCPPA strongly supported ARB Staff's initial  
7 suggestion back in 2015 to treat any newly established  
8 SB 350 targets as nonbinding, soft targets, most likely  
9 outlined as part of the 2030 Target Scoping Plan.

10           We also encouraged ARB to establish reasonable  
11 compliance flexibility mechanisms, such as allowing  
12 fair and reasonable off ramps and adjustments, or a  
13 list of issues, reasons why a target may not be  
14 achieved by utilities.

15           This would be similar to the cost limitations  
16 for the RPS Program. For example, transportation  
17 electrification initiatives could be a key contributor  
18 for utilities increasing energy demand, which may not  
19 necessarily align in the interim towards a reduction in  
20 emissions for utilities.

21           And given the state's overarching, multi-  
22 industry goals under an economy-wide Cap-and-Trade  
23 Program, setting a hard single industry-specific target  
24 only applied to the utility sector, we're also  
25 concerned may raise issues with unintended market

1 manipulation exposure in the Cap-and-Trade market for  
2 utilities.

3 We also believe that targets should be based  
4 on the end 2030 goals. This is particularly important  
5 for SCPA members because we do have some key presumed  
6 turning points going forward towards the 2030 Target  
7 Scoping Plan.

8 For example, for SCPA members that are locked  
9 into long-term, out-of-state, coal-fired contracts  
10 there will be a certain date in the near-term future  
11 where we will see substantial improvements after those  
12 contracts are divested up early, but that might not  
13 reflect in the interim progress for GHG emissions  
14 reductions until we get to that point.

15 So we didn't want to see our members subjected  
16 to undue costs that might pressure utility rates  
17 upwards when we saw those turning points actually be  
18 achieved. We also had issues, we wanted to insure that  
19 local governing boards were involved in this process,  
20 as well.

21 Our members are directly regulated by a  
22 variety of locally elected and appointed officials who  
23 have a fiduciary responsibility to act in the best  
24 interest of all of our ratepayers. So any rate  
25 increases must be considered and approved by locally

1 elected officials, which can be quite challenging,  
2 because they have to go through an open, multi-step,  
3 very transparent process for the utilities, especially  
4 if any proposed rate increases going forward are  
5 significant and become more frequent.

6           Also wanted to recognize the difference  
7 between the Public Power Utilities and the investor-  
8 owned utilities, and that we also have to meet certain  
9 proposition requirements as open public agencies, and  
10 many of our members are in long-term contracts because  
11 we did not divest of our generation resources during  
12 deregulations.

13           We also use tax exempt municipal bonds, which  
14 may be, hopefully not, but cut back or scaled back in  
15 the 115th Congress, which we will certainly be fighting  
16 against because we use municipal bonds to finance a  
17 number of our projects. That goes beyond just  
18 renewables.

19           As far as options for defining the sector-wide  
20 target, we would strongly oppose using ARB's EDU  
21 allowance allocation to do so. As the basis for  
22 setting these GHG targets, we have expressed numerous  
23 issues during the Cap-and-Trade Regulatory Proceeding  
24 at the Air Resources Board that began at the end of  
25 2015, I believe.



1           We believe that these allowance allocations  
2 must be based on cost burdens. There are also stark  
3 contrasts between Southern California utilities and the  
4 Northern California utilities on the allowance  
5 allocations going forward post-2020.

6           Whereas, our members take a 77 percent hit on  
7 allowance allocations between 2013 and 2030, and these  
8 are our large members that are subjected to the SB 350  
9 IRP reporting requirements, we -- PG&E takes a 55  
10 percent hit.

11           So we take -- and some of our individual  
12 members, our larger ones, take upwards of over 80  
13 percent hit on allowance allocations going forward. So  
14 we have raised a number of concerns with the cap  
15 adjustment factor, RPS assumptions, how transportation  
16 electrification can be accounted for under the Cap-and-  
17 Trade Program, and how doubling of the EE goal can be  
18 met, especially if our consumers don't actually uptake  
19 energy efficiency measures going forward.

20           So these are concerns we're currently working  
21 with on ARB, which is another reason why we believe  
22 there need to be soft targets most appropriately set as  
23 part of the Scoping Plan, although we haven't seen  
24 details worked out yet through the Scoping Plan, but  
25 hope to do so if indeed that can be done this time

1 around.

2 We also understand as far as the GHG Emissions  
3 Inventory, which I believe is Option B in the Staff  
4 paper, we've heard that there may be some data accuracy  
5 issues with the GHG Emissions Inventory that need to be  
6 corrected.

7 So we would certainly welcome stakeholder  
8 based input on that one to insure that that inventory  
9 is actually accurate, if that option does go with. But  
10 we again support the Scoping Plan option more-so. We  
11 have discussed with our members, both for the  
12 greenhouse gas working group and our regulatory working  
13 group, issues on how to set these targets, and it's  
14 just indicative of the number of issues we have to work  
15 with and how complicated it can be.

16 Some of the questions our members have raised,  
17 based on reviewing this paper and in preparation for  
18 this presentation, was how would cost-effectiveness and  
19 cost burdens be measured and considered, particularly  
20 as it relates to rate increases that impact low income  
21 customers disproportionately, mindful that public power  
22 do not have shareholders, so all costs must be borne by  
23 ratepayers as approved by locally elected officials.

24 How would regional differences be accounted  
25 for? How would reliability implications be accounted

1 for? How will targets accommodate year-to-year  
2 variability, hydro being a key issue on everyone's mind  
3 right now? What would the GHG target applied to  
4 emissions, either at the first importer basis or on  
5 entire portfolio for utilities?

6 For those of our members in the Cal ISO how is  
7 it accounted that we don't have control over  
8 dispatching our resources? And then will certain of  
9 our members be held responsible for emissions  
10 associated with the unexpected state mandate where we  
11 are required to procure a certain portion of 125  
12 megawatts of biomass under SB 859, where we are now  
13 required to procure energy from emitting resources that  
14 are three to five times more expensive than other  
15 renewable resources that don't emit emissions that we  
16 would have otherwise procured?

17 And what if utility customers choose not to  
18 alter their behavior? This is particularly important  
19 for energy efficiency and conservation measures, and  
20 how do we deal with that in the accounting going  
21 forward, as well as, of course, transportation  
22 electrification.

23 We just wanted to recognize the Energy  
24 Commission for helping us in developing some sort of  
25 methodology that would estimate transportation

1 electrification issues that we can get credit under the  
2 Cap-and-Trade Program, pursuant to SB 350, which was  
3 something that SCPA had strongly supported be included  
4 in that bill going forward for a Cap-and-Trade Program.  
5 With that, Susie's going to --

6           MODERATOR HOUCK: Actually, before we continue  
7 I just wanted to clarify. I think you raised a lot of  
8 really important issues. I think a lot of those are  
9 probably going to be dealt with within the CPUC and the  
10 CEC's IRP processes, as we -- as the agencies kind of  
11 work through, how do you take these GHG goals that  
12 we're talking about today and then turn them into  
13 energy specific targets.

14           So maybe for the rest of the discussion if you  
15 can focus mostly on the question of setting a high-  
16 level target, what are the best options for doing that,  
17 and then I think the deeper and probably much more  
18 difficult question is about how do you take that and  
19 translate it into an IRP kind of planning target.

20           I think a lot of that would be dealt with in  
21 future workshops that each of the agencies carry out.  
22 So maybe just to kind of narrow the conversation, if  
23 you can focus -- the rest of the speakers can focus on  
24 this -- you know -- the topic of this panel, which is  
25 the High-Level Sector Target for IRP, that would be I

1 think most helpful.

2 MS. BERLIN: Thank you. This is Susie Berlin,  
3 for the Northern California Power Agency and Special  
4 Regulatory Counsel for NCPA, who represents publicly-  
5 owned utilities. I wanted to -- two points. I have  
6 the easy role, because NCPA agrees with the issues that  
7 were raised by SCPPA.

8 So I'm going to not reiterate all those same  
9 points. There may be some duplication, but I try to  
10 insure that I'm not saying the same things over. But  
11 we share the same concerns that are raised by SCPPA.  
12 And as a preliminary matter, because it's reflected in  
13 the comments, we're making Jason respond, I know we're  
14 talking about how to set the sector-wide overall  
15 number.

16 But as we go, Part 1, Part 2 and then Part 3  
17 is the LSE-specific target, we need to know with  
18 absolute certainty what elements are being addressed at  
19 what stage, so that we don't get to Part 3 and say, oh,  
20 well, that should have been included in Part 1, and --  
21 or it is included in Part 1 and it's not.

22 So we are looking at the bigger picture, but  
23 we have to also keep in mind what the final  
24 determination is going to be, at least to some extent,  
25 or else we can't answer questions one and two. So I

1 guess that NCPA is a joint powers agency.

2           And NCPA and its members are committed to  
3 doing their part to help the state meet the 2030 GHG  
4 reduction goals. We've taken aggressive actions and  
5 will continue to do so, but we also need to be able to  
6 insure that we can provide affordable, reliable and  
7 clean electricity to our businesses and members, and we  
8 appreciate the nod to cost-effectiveness as we go  
9 through this entire process.

10           It's also important to note that the  
11 electricity sector is already doing what many might  
12 call more than their fair share to meet the statewide  
13 target, and under the Scoping Plan there are  
14 considerably more emissions reductions going to be  
15 sought from the electricity sector than many other  
16 sectors.

17           And added to that, there's the implications  
18 from the need to increase electrification to meet the  
19 state's overall target. So one of the starting points  
20 from NCPA's perspective is to accurately define the  
21 role of the IRPs, and meeting -- resource planning with  
22 the intent to getting to the GHG reduction targets is  
23 one of the many elements that's included in the IRP,  
24 and so it needs to be considered and looked at within  
25 that context.

1           The requirement to prepare the plans do not  
2 alter or change any of our existing mandates and we  
3 think that the IRP process should not supplant or  
4 otherwise change the GHG emissions accounting that  
5 we're already doing under CARB.

6           There shouldn't be a separate GHG accounting  
7 program under the IRP. So key considerations are also  
8 that the IRPs are planning tools. The statewide  
9 projections are aggressive, but they're uncertain, and  
10 so we need to be able to adapt to changes.

11           We need to focus on the 2030 target and not  
12 incremental or interim steps. The GHG reductions, like  
13 I said, are only one component of the overall IRP and  
14 flexibility in developing the IRPs is imperative.

15           And from the POUs, that goes back to many of  
16 the points that Tanya raised with regard to the local  
17 government input and feedback from the governing boards  
18 that set up the planning for the utilities. And so we  
19 agree also, something that was originally raised by  
20 CARB and something that Tanya said, that the GHG  
21 targets must be used as planning targets. They  
22 shouldn't be separate mandates through the IRP process.

23           Going to the role of the -- how to set it,  
24 CARB has the ultimate responsibility for setting the  
25 statewide target reduction. And so we appreciate that

1 there is this joint CPUC and CEC process that must be  
2 taken in close concert with what CARB is doing.

3 The Scoping Plan as the basis is a good place  
4 to start, we believe, but as the Scoping Plan notes, it  
5 sets out a range of reductions for the electricity  
6 sector. And those numbers then need to be translated  
7 into planning targets.

8 So it's not necessarily accurate to say that  
9 that range is already the scope of the planning  
10 targets. The IRP and the Scoping Plan do serve very  
11 different functions, and appreciated hearing Rajinder  
12 say that, and we must be able to align those functions  
13 when we determine what the ultimate number is.

14 The objection -- excuse me -- the Scoping Plan  
15 needs to be -- the targets in the Scoping Plan need to  
16 be reviewed further, because we don't think that they  
17 include all of the elements that would impact what  
18 needs to be set to come up with a utility planning  
19 target.

20 If used, their emissions reduction targets  
21 need to account for the extent to which the reductions  
22 that are projected in the Scoping Plan cannot be  
23 attributed directly to the utilities. For example, the  
24 doubling of energy efficiency; there's going to be some  
25 third party involvement, something that's already been



1 acknowledged in the other separate Scoping Plan docket  
2 with -- excuse me -- separate IRP docket with regard to  
3 assigning how those emissions reductions and how the  
4 doubling of energy efficiency will be accounted for.

5           There must be greater understanding of the  
6 interactions from other sectors. Will any of the  
7 projections be feasible? I mean, we're talking about  
8 known commitments, but again, there are known  
9 commitments that are also incumbent upon interactions  
10 from other sectors, transportation electrification  
11 being the biggest one, and I go back to energy  
12 efficiency, as well.

13           Also, from the publicly owned utilities'  
14 perspective, local agency interaction and the extent to  
15 which local communities are going to be changing under  
16 the scoping plan and their mandates might further put  
17 pressure on electrification that when you're in a POU  
18 service territory will have a direct impact on what the  
19 planning is for that local community.

20           So these are issues that we think are not  
21 fully addressed in the context of the Scoping Plan with  
22 enough detail to take that projection and turn it into  
23 a planning target at this point. So we appreciate the,  
24 like I said, the recognition that those two items serve  
25 separate purposes and that we need to talk more about

1 all these nuances to fully define what that number  
2 should be.

3 So flexibility is key. The Scoping Plan can  
4 serve as the basis to start this discussion. The range  
5 of reductions is a good place to start when we talk  
6 about setting the planning targets, but we're going to  
7 need to insure that there's flexibility in  
8 implementation.

9 We're going to need to insure that any targets  
10 are indeed soft targets. Cost-effectiveness must be  
11 maintained and the guidelines in general, we need to  
12 remember that we are talking about plans, and plans  
13 with a focus on 2030. Thank you.

14 MODERATOR HOUCK: Shana, do you want to go  
15 next?

16 MR. WILLIAMS: So I'll round out the utilities  
17 here. My name is Ray Williams. I'm Director of Long-  
18 Term Energy Policy at Pacific Gas and Electric. For  
19 the last several years I've been very much involved in  
20 both state and federal greenhouse gas policy.

21 And regardless of the disposition of the clean  
22 power plant and what you may think, by 2030 I think we  
23 might expect that there could be some kind of federal  
24 regulation, because these issues are not going away.

25 In terms of PG&E's -- and I'm going to confine

1 my comments, there's a lot to talk about here, but I'm  
2 really going to limit my comments to setting the  
3 electric sector target. In terms of PG&E's planning  
4 and procurement for our bundled portfolio we look to  
5 assemble a reliable, affordable and compliant  
6 portfolio, while driving down greenhouse gas  
7 reductions.

8 I'd like to highlight three topics here.  
9 First is the uncertainty inherent in PATHWAYS to meet  
10 the state's target, as illustrated by the Draft Scoping  
11 Plan. The second is the prospective and expanded use  
12 of electricity to help meet the state's 40 percent  
13 reduction goal, and third, really, is the issue that  
14 the Chairman had alluded to initially. It's the weedy  
15 issue of how do you count toward the target.

16 So I'll just provide a couple of examples  
17 there. In terms of uncertainty, the legislature has  
18 already codified key programs through 2030 in the  
19 electric sector with the passage of a 50 percent RPS  
20 and ambitious energy efficiency targets.

21 In addition, the ARB plans, as you heard  
22 earlier, to extend transportation sector programs such  
23 as the Low Carbon Fuel Standard and Advanced Clean Car  
24 Programs. These electric and transportation sector  
25 complementary measures alongside a Cap-and-Trade

1 Program will drive substantial GHG reductions in these  
2 sectors, and also highlight the prospect of increasing  
3 electrification to drive emissions statewide, as  
4 President Picker highlighted earlier.

5 PG&E is on the record as supporting this  
6 approach; that is, the ARB Staff's preferred  
7 alternative in the Scoping Plan, as the best overall  
8 strategy to help meet the 40 percent goal. Now, in  
9 terms of uncertainty, the Draft Scoping Plan highlights  
10 uncertainty with respect to complementary program  
11 emissions reductions.

12 You'll see that in Table 3-1 of the Scoping  
13 Plan, Draft Scoping Plan. It also shows a related cost  
14 uncertainty in Table 3-2, and that provides a wide  
15 range of dollar per metric ton estimates for current  
16 and proposed measures. And you can also refer to Table  
17 3-3 in the Draft Scoping Plan.

18 Recognizing this wide range, flexibility is  
19 needed to take advantage of the experience gained  
20 through implementation of the complementary measures in  
21 Cap-and-Trade Program, perhaps with updates to the  
22 Scoping Plan more frequent than every five years.

23 I think we would certainly recommend  
24 something, a shorter cycle than that, and adjust course  
25 to emphasize measures that provide the most reductions

1 at lowest cost. These adjustments may involve more  
2 emphasis on the electric sector versus other sectors,  
3 or vice-versa. I think we simply don't know today.

4           While the exact path to achieving the 40  
5 percent reduction goal is uncertain, there is little  
6 question that reducing the carbon intensity of  
7 electricity and then expanding the use of electricity  
8 in other sectors is critical to meeting the state's  
9 target.

10           You can look at all kinds of alternatives.  
11 You can look at PATHWAY alternatives, but that's really  
12 a common theme. The electric sector target represents  
13 -- best reflects -- I'm sorry -- electric sector target  
14 range best reflects the uncertainty in the expanded  
15 role the electricity will play, and supports the  
16 flexibility needed to adjust course, as we learn more  
17 about what actual measures bring in terms of reductions  
18 and the relative cost of those reductions.

19           Okay. Now, I'm going to turn to counting.  
20 Whenever one sets a target or a metric, one needs a  
21 counting protocol to measure the progress toward the  
22 target. So there's a lot here, but in the few minutes  
23 that I have I'm just going to mention a couple.

24           So the first, really, is line of sight from  
25 seller to buyer. One example of that is the utilities

1 that go into the wholesale market for purchases. You  
2 know, through this power pull operation it's very  
3 difficult to match buyer and seller, and given that,  
4 there'll be some sort of attributed emissions rate that  
5 will need to be set for those purchases.

6 And you know, that lends -- that also creates  
7 a situation where you're not, you know, you're not  
8 really certain -- once you set a target you're not  
9 really certain exactly how you're going to count toward  
10 that target.

11 And of course, this is more of an LSE issue,  
12 but the dispatch of plants is on an ISO basis, and then  
13 when you move toward a particular LSE they're not  
14 necessarily in control, nor should they be, of the  
15 generation because they're not dispatching it against  
16 their own bundled portfolio. They're dispatching it in  
17 a wider market.

18 The second is related to renewables related  
19 over generation. This may not be too much of an issue  
20 today, but modeling certainly shows that it will become  
21 more of an issue over time. You know, unmitigated  
22 renewables over gen may be substantial.

23 Mitigation measures that we know about today  
24 include storage, load building, including  
25 electrification where you may otherwise see

1 curtailment, and hopefully, enhanced regional  
2 coordination, particularly with the Northwest.

3           Again, you know, these are -- that may be more  
4 of a long-run goal today. Nonetheless, an economically  
5 optimal solution will probably involve some  
6 curtailment, because any of those things generally will  
7 involve a dedication of capital.

8           So how you account for this curtailment can  
9 have a significant impact on the electric sector  
10 attributed emissions. Okay. I think that's weedy  
11 enough for now, but you know, there's more to talk  
12 about there.

13           So in conclusion, as quantity target,  
14 certainly, there's other ways you can look at this, but  
15 as a quantity target we recommend use of the ARB's 2030  
16 Scoping Plan emissions range. Agencies can use the  
17 interim values reflected in Table 2-3, that's the 42 to  
18 62 million metric ton range, until the ARB adopts a  
19 Scoping Plan with final values.

20           Of course, you know, as entities who may be  
21 subject to those targets, we prefer to have an  
22 opportunity to review those final values before  
23 implementation. And really, to build upon, you know,  
24 something that Susie said, these utilities are going to  
25 go through and submit their own IRP plans, and that's

1 going to be a, you know, pretty involved process for  
2 POU's and IUs.

3           It might be interesting to sort of roll up  
4 those plans once they are in place and see how it  
5 compares to the 42 to 62 target, and kind of go from  
6 there. So that concludes my opening comments and I'm  
7 happy to answer any questions.

8           MS. LAZEROW: Good morning. I'm Shana  
9 Lazerow. I'm a Staff Attorney at Communities for a  
10 Better Environment, and I represent the California  
11 Environmental Justice Alliance in the PUC's 2016 LTPP,  
12 the IRP Planning Proceeding.

13           So I really appreciate the opportunity to  
14 address this Joint Panel this morning. You have a lot  
15 of power in this room. And so CEJA is an association,  
16 a group of grassroots environmental justice  
17 organizations statewide.

18           We organize in low income communities of  
19 color, some of the communities most impacted by -- am I  
20 too close to this mic? No. Good -- most impacted by  
21 environmental pollution, air pollution, toxins, major  
22 stationary sources.

23           The transportation sector has a tremendous  
24 impact on community members at Communities for a Better  
25 Environment, where I work, both in East Oakland and in



1 Wilmington in Southeast L.A. We have members who live  
2 near gas-fired generating stations.

3 We have members who live near refineries, and  
4 from the perspective of environmental justice  
5 communities, this represents, this, you, this group in  
6 this room represents a tremendous opportunity. You're  
7 charged with implementing laws that put disadvantaged  
8 communities at the center.

9 And so I want to, you know, kick off this  
10 morning by making three critical points -- I think  
11 three is a good number -- that I haven't heard from the  
12 speakers who came before me that communities have to be  
13 at the center of this planning process.

14 And I'm hopeful that by the end of this  
15 process when utilities talk about their goals for IRPs  
16 and for GHG reductions, they will always start by  
17 talking about impacts on disadvantaged communities, on  
18 California's environmental justice communities, and  
19 what each utility's and each association's plans for  
20 addressing existing impacts and directing benefits into  
21 environmental justice communities.

22 And this not just a hope at this point. It's  
23 in the law. AB 197 says that while greenhouse gas  
24 reductions are critical for everyone, they're  
25 especially critical for the state's most disadvantaged

1 communities, as those communities are affected first  
2 and most frequently by the adverse impacts of climate  
3 change, including increased frequency of extreme  
4 weather events, such as drought, heat, and of course,  
5 now we're seeing flooding.

6           The state's most disadvantaged communities are  
7 also disproportionately impacted by the deleterious  
8 effects of climate change on public health. And when  
9 you visit some of the communities, we had a joint  
10 agency task force with Cal EPA in East Oakland last  
11 week, visiting one of our elementary schools near the  
12 880 and near some pretty impactful stationary sources,  
13 and the asthma rates in that school are off the charts.

14           It's really beyond dispute that we need  
15 systemic change, and regulation of greenhouse gases is  
16 where this is landing. The second point that I want to  
17 make is that this needs to be a very transparent  
18 process.

19           AB 197 says that the reductions that we're  
20 seeking, that we will achieve, have to be transparent  
21 and accountable. One of the concerns that CEJA has is  
22 we're starting with a Draft Scoping Plan that doesn't  
23 show it's work.

24           So we have a range proposed from 42 to 62.  
25 That's a huge range, and when we look back to try to

1 find which scenario results in 42 or 50 or 60 or 62, we  
2 can't find that. In its prior draft CARB provided,  
3 basically showed us its work, but since the most recent  
4 draft was released we haven't been able to find it on  
5 the web.

6 I was interested in the CARB discussion this  
7 morning saying that it was available on the web. I've  
8 looked everywhere. I've emailed one of our EJC  
9 contacts and she wasn't able to find it for us. So we  
10 need -- so CEJA does advocate starting with the Scoping  
11 Plan range, the 42 to 62, assuming that there is  
12 transparency in where we get those numbers.

13 And I do want to point out that those are  
14 different numbers from what we saw the last time  
15 around. CARBs in November made a presentation showing  
16 that we would need to see more like a result of 30 or  
17 32 from the electricity sector, which again, is pretty  
18 different from 42 to 62.

19 But we think that SB 350, we think that the  
20 statute is pretty clear that this is going to come from  
21 CARB, and we like to be guided by the statutes. So  
22 that's what we are recommending.

23 My third point, again, is to I think disagree  
24 with my colleagues on this panel with the degree of  
25 flexibility to which the regulated entities can be

1 given. These laws have mandatory language. We aren't  
2 at liberty to come in and say, these are some ideas,  
3 these are some potential targets that we'd like you to  
4 try to achieve, but if it doesn't look like that's  
5 going to work out with your long-term contracts, then  
6 we'll revisit it.

7           And we certainly understand that there are  
8 unexpected events in large sectors of the economy, but  
9 SB 32 specifically says that it requires that CARB  
10 insure achievement of statewide greenhouse gas  
11 reductions. It's not a planning exercise. We have to  
12 get there.

13           And we have to do better because we have to be  
14 on the trajectory to 80 percent. And so that concludes  
15 my opening remarks. I believe we -- are we going to  
16 have time to talk re the specific questions?

17           MODERATOR HOUCK: Yeah, let's go ahead. We  
18 can take questions. I think we have one speaker, James  
19 Barner, from LADWP, who's participating via phone and  
20 WebEx. So James, if you're there, feel free to speak  
21 up.

22           MR. BARNER: Yes. Hi. This is James Barner.  
23 Thank you for letting me speak today. I want to thank  
24 Tanya DeRivi at SCPPA for her comments, which we  
25 definitely agree with. LADWP is taking a leadership

1 role.

2 We've recently adopted a resource case,  
3 achieve 65 percent RPS by 2036, and we're considering  
4 investments to get to 100 RPS in the future. And so  
5 that effort's underway. My role is in the Integrated  
6 Resource Planning.

7 I've been supervising the group for the last  
8 seven years. We produce an IRP every single year, and  
9 we have a very extensive public outreach effort to  
10 evaluate different resource cases every other year.  
11 I've been very involved with production cost modeling,  
12 modeling greenhouse gas forecasts for LADWP.

13 We've produced over the last seven years,  
14 seven different forecasts for 20-year forecasts for  
15 GHG. So I'm very familiar with the main aspects of it.  
16 Our current projection for LADWP in 2030 is 5.8 million  
17 metric tons of greenhouse gas emissions.

18 So we have a very good handle on what those --  
19 what that represents in terms of resources. That 5.8  
20 million metric tons represents 55 percent RPS, 15  
21 percent energy efficiency and charging -- putting the  
22 charging infrastructure in place for 580 EVs.

23 We also have 1654 megawatts of energy storage  
24 in that 5.8 million metric tons. That includes 1250  
25 from our existing Castaic Plant, and 404 megawatts of

1 future planned energy storage. We also have 610  
2 megawatts of net meter solar, which equates to about  
3 3.7 percent of renewables, in addition to the 55  
4 percent.

5 I want to just comment on Table 1, direct my  
6 comments there. Option A, that uses the PATHWAYS  
7 model. It has a range that we consider that is too  
8 wide; 42 to 62 is 20 million metric tons. That has  
9 cost implications of billions of dollars for our  
10 customers.

11 It also represents a range of renewable  
12 portfolio standard from somewhere in the range of 50 to  
13 60 percent of the 62 million metric tons to somewhere I  
14 believe in the 80 to 90 percent RPS in the 42 million  
15 metric tons.

16 I don't believe that the PATHWAYS model is  
17 suitable for accurately determining electric sector  
18 emissions. It is not an economic dispatch model. It  
19 uses inputs from other sources. Option B uses a 2014  
20 baseline. That's clearly moving the goalpost from the  
21 current law, SB 32, which requires 40 percent below  
22 1990 levels.

23 So that's increasing that reduction from 40 to  
24 52 percent, although we're not opposed to aspirational  
25 goals whatsoever. We would recommend a soft target,

1 consistent with SB 32, of 65 million metric tons, which  
2 is 40 percent below 1990 levels.

3 Anything below that level should be considered  
4 aspirational and include crediting for electrification.  
5 We must recognize that energy efficiency and customer  
6 net metered programs are beyond the control of the  
7 utilities.

8 And so there should be some off ramp to adjust  
9 for that. I would suggest that any target consider a  
10 three-year average from 2029 through 2031 to account  
11 for variations in renewables and hydro impacts.

12 I would also recommend that before we set a  
13 target that we convene a working group of -- from the  
14 seven largest -- or from the seven balancing  
15 authorities in California. The balancing authorities  
16 each have production cost modeling capability, I  
17 believe, and together we can come up with a number that  
18 is much more accurate.

19 So that effort I would recommend strongly. I  
20 think POUs should be given an opportunity to model  
21 their emissions in their IRPs and present those to the  
22 CEC before considering lower goals than the 65 million  
23 metric tons.

24 And overall, I believe that the appropriate  
25 target should be backed by consideration of multiple

1 sources, not just one source. And that concludes my  
2 comments.

3 MODERATOR HOUCK: Thanks, James. Before I ask  
4 any questions, if the Commissioners want to meet with  
5 any questions for the panelists.

6 CHAIRMAN WEISENMILLER: Sure. Let me start  
7 with a few. It seems like one of the challenges we  
8 have is we have an emissions inventory from the ARB,  
9 and we need ultimately to connect that in your resource  
10 plans to what your baseline is.

11 And I suspect if we -- you know -- so I want  
12 to start the process of getting from the utilities what  
13 they perceive their baseline is, this comes back to  
14 Ray's question, so that before -- as we're moving  
15 forward we need a consensus of the baselines and sort  
16 of what your targets are, as opposed to each of you  
17 coming up with your own methodology, or for that  
18 matter, the Energy Commission or PUC coming up with a  
19 methodology that's not consistent with the Air Board or  
20 the Air Board's inventory.

21 So and again, part of that is I have no idea  
22 in terms of the solidness of your baseline now versus,  
23 you know, 2010, versus 1990. But we really need a  
24 pretty concerted effort to pin down the baselines that  
25 are going to be part of your planning processes.



1           And I was going to just look at Ray in terms  
2 of, how comfortable are you in terms of knowing PG&E's  
3 baseline, given some of the issues you identified?

4           MR. WILLIAMS: Well, that gets to the  
5 structure of the mandatory reporting requirements, and  
6 Rajinder or Craig might be able to help you there. I  
7 remember that initially, the reporting was done both on  
8 a source basis or a generator basis, and on a LSE  
9 basis.

10           I'm not sure whether that LSE requirement is  
11 still in place or not. And I'm getting -- it's a no  
12 that it's not.

13           CHAIRMAN WEISENMILLER: Yeah, so.

14           MR. WILLIAMS: And so you can have reasonable  
15 data I think for the electric sector as a whole, but as  
16 you try to go down to particular portfolios, whether  
17 it's a CCA or whether it's a utility with its bundled  
18 portfolio, it becomes, you know, again, almost an  
19 accounting exercise, as opposed to a market exercise,  
20 because you know, again, you have all the generation in  
21 the state, whether it's utility owned or whether it's  
22 independent, it's going to dispatch against an ISO or  
23 other balancing authority, you know, load.

24           CHAIRMAN WEISENMILLER: Right.

25           MR. WILLIAMS: Right. So you know, for

1 example, just thinking out loud here, you know, for  
2 PG&E one way you could do it is you could say, here's  
3 our demand. We can subtract out our renewables, we can  
4 subtract other non-carbon generation.

5 You can deal with behind the meter generation  
6 in some fashion, and then you know, what's left over is  
7 essentially, you know, fossil relative to that demand.  
8 But that's not necessarily PG&E's fossil, whether its  
9 own generation or it's what we have under contract. So  
10 it's just -- you know -- it gets

11 CHAIRMAN WEISENMILLER: Yeah. I guess I --  
12 yeah. I'd asked everyone in their comments file to  
13 come up with their estimate, something on the  
14 methodology.

15 MR. WILLIAMS: Yeah.

16 CHAIRMAN WEISENMILLER: So we can -- again,  
17 we're not going to resolve it today.

18 MR. WILLIAMS: No.

19 CHAIRMAN WEISENMILLER: But somewhere between  
20 now, and you know, when decisions come out.

21 MR. WILLIAMS: Yeah.

22 CHAIRMAN WEISENMILLER: Or when we're in  
23 implementation [sic], we need to pin it down. So let's  
24 at least start the discussion.

25 MR. WILLIAMS: Okay.

1           CHAIRMAN WEISENMILLER: I think the other one  
2 to start the discussion --

3           MR. WILLIAMS: Just another place you could  
4 look, I think, is you know, when you go through the IRP  
5 process for each LSE, you know, what does that show,  
6 and then maybe try to impose some kind of a consistent  
7 counting protocol on those plants and see what you got.

8           CHAIRMAN WEISENMILLER: Yeah. Again, as we go  
9 into the planning, the baseline -- again, I'm looking  
10 for consistent accounting.

11          MR. WILLIAMS: Right.

12          CHAIRMAN WEISENMILLER: You know, and the  
13 baseline and trying to figure out how we do that. And  
14 you know, obviously, there's going to be hydro  
15 variations or other things. But going forward that's  
16 one of the key things we need to pin down.

17                I guess sort of another, sort of big picture  
18 is you know, CBU mentioned how they're going to  
19 participate in the PUC proceeding. I'm trying to  
20 figure out, who's participating in the POU proceedings  
21 and is there a way to facilitate that.

22                And I'm looking in part to SCPPA and NCPA, but  
23 what we ended up doing in, you know, the 1368 stuff, is  
24 we had an Energy Commission website which said, you  
25 know, pretty much, this is the proceeding so that if,

1 say, CBU wanted to know where, you know, an IRP  
2 proceeding was going on in the state, they could just  
3 look to that and follow, at least be alerted to what  
4 was going on.

5 Or again, we can do it, you can do it. But  
6 somehow, I think, again, so one I'm seeing on  
7 transparency, the other on participation, you know, how  
8 to facilitate participation by the environmental  
9 justice community in the POU proceedings.

10 Again, our role is going to be much different  
11 from the PUC, and as they pointed out, a lot of it's  
12 going to be local decision-making. You know, I think  
13 we're going to be pulling together and trying to stay  
14 on top of how consistent or inconsistent or how close  
15 are we, but a lot of the decision-making will be at  
16 that level.

17 MS. BERLIN: This is Susie Berlin and I'll  
18 just touch on that briefly. Yes, the decision-making  
19 will be at the local level, and part of the local  
20 processes, many that are already in place, and that's  
21 why I was emphasizing that the setting the GHG planning  
22 target and coming up with using that element as part of  
23 your IRP is just one part of the IRP.

24 There are a number of different aspects that  
25 also need to be addressed, your renewables, you're

1 looking forward to what energy efficiency needs to be  
2 done, looking at how you're going to enhance your bulk  
3 transmission system, how that's going to affect the  
4 communities in general.

5 Those are all other elements of the IRP that  
6 will be part of the broader discussion outside of just,  
7 you know, after we set this GHG planning target. So  
8 that goes back to some of the comments that Tanya was  
9 making about the local communities.

10 When you're dealing with a POU you're dealing  
11 with, a lot of times, a less diverse community. Not  
12 always. You know, some of them are smaller and some of  
13 them aren't. LADWP is an example, but the decisions  
14 are made at the local level based on the specific needs  
15 of the communities.

16 And even communities that may not meet the  
17 disadvantaged community definition under the Cal Enviro  
18 Screen may be considered disadvantaged within the POU  
19 communities that they're serving because of the  
20 socioeconomic statistics in that area.

21 So yeah, we encourage participation at the  
22 local level when these things are being worked out, but  
23 it goes beyond just looking at the GHG planning target.  
24 It's part of the Comprehensive Integrated Resource  
25 Planning.

1           CHAIRMAN WEISENMILLER: Okay. Again, if both  
2 -- if all three of you can think about ways to  
3 facilitate EJ participating in your proceedings and  
4 your comments, that would be good. Another question  
5 was just, at one point we got a letter from SCPPA on  
6 the Scoping Plan.

7           And I was not pushing you. I just -- my  
8 inclination at this point is to post it in this  
9 proceeding, realizing that your thinking may well have  
10 evolved over time, but certainly happy for your  
11 reactions there.

12           MS. DeRIVI: That's the Energy Principles  
13 letter that we sent?

14           CHAIRMAN WEISENMILLER: Yes.

15           MS. DeRIVI: Sure.

16           CHAIRMAN WEISENMILLER: Okay. Also, in terms  
17 of broad question for everyone is just, well, how does  
18 Cap-and-Trade influence your decision-making? You  
19 know, at this point there's not a specific for any  
20 sector, but at least for this sector, which is a huge  
21 sector, how does Cap-and-Trade influence what you're  
22 doing in terms of -- and how should we think about  
23 accounting for it in the IRP process?

24           MS. LAZEROW: I'd be happy to go first. This  
25 is Shana Lazerow, on behalf of CEJA and CBE. I think

1 it would be a mistake to structure plans or anticipate  
2 that Cap-and-Trade is going to exist in its current  
3 form after 2020.

4 I think that we need to design a greenhouse  
5 gas reduction system and a more holistic energy system,  
6 obviously, around the assumption that we're going to  
7 have direct reductions at the electricity production  
8 facilities.

9 And I think that we may end up spending a lot  
10 of time passing assumptions about what a trading system  
11 is going to look like around, and I think that it would  
12 be a much more useful exercise to talk about how we're  
13 going to make actual reductions at the facilities where  
14 GHGs are being admitted.

15 MR. WILLIAMS: So you know, we've been very  
16 much on the record as supporting Cap-and-Trade as a  
17 market-based system to help, you know, given a cap that  
18 we support, to find the -- you know -- across multiple  
19 sectors to find the lowest cost reductions.

20 Thank you for giving me a little bit of time  
21 to compose my thoughts here. So and I'm thinking about  
22 today's situation versus maybe a future situation. So  
23 you know, today for a utility in its efforts to reduce  
24 emissions in its final portfolio, you know, we focus on  
25 meeting the energy efficiency goals as laid out by the

1 Public Utilities Commission.

2           We focus on complying with the RPS. You know,  
3 it's state law, and you know, that frankly drives -- is  
4 going to drive the majority of the reductions, I  
5 believe, for PG&E, just as it does statewide.

6           And you know, today we're looking at allowance  
7 prices in the \$15 or so range. So it doesn't feel -- I  
8 haven't spent that much time with the commercial part  
9 of our group, but it doesn't feel like there's a real  
10 active tradeoff between buying an allowance and doing  
11 something beyond our compliance responsibility.

12           It doesn't feel that way. But if you think,  
13 you know, between 2020 and 2030 and you may see  
14 allowance prices move up quite significantly once  
15 you've got a plan in place and the market has  
16 confidence in that trading regime, then you may be in a  
17 position where there's a lot more active engagement in  
18 terms of what are we going to do inside our portfolio,  
19 versus the purchase of allowances.

20           But you know, I don't know for sure, but I  
21 don't see too much of, you know, that kind of  
22 consideration today.

23           CHAIRMAN WEISENMILLER: Okay. Well, again, I  
24 wasn't intending to have the debate here on the precise  
25 --



1 MR. WILLIAMS: Yeah.

2 CHAIRMAN WEISENMILLER: -- measure, just as  
3 much as saying, okay, in the IRP process.

4 MR. WILLIAMS: Yeah.

5 CHAIRMAN WEISENMILLER: Assuming there is  
6 something, Cap-and-Trade, carbon tax or something, how  
7 do we incorporate that thinking into the IRP process?  
8 And again, I'm certainly happy to, you know, in your  
9 comments --

10 MR. WILLIAMS: Um-hum.

11 CHAIRMAN WEISENMILLER: -- you know, you have  
12 more time to reflect, certainly.

13 MR. WILLIAMS: Yeah.

14 CHAIRMAN WEISENMILLER: Encourage more  
15 conversation on that question.

16 MS. LAZEROW: If I might, I was just looking  
17 back at PG&E's 2012 bundled plan and how it interacted  
18 with purchase and compliance mechanisms for greenhouse  
19 gases and there was no conversation about first  
20 reducing greenhouse gases prior to purchase of offsets.  
21 So I think that that's the model that we have now and  
22 it definitely needs changing.

23 CHAIRMAN WEISENMILLER: Well, one of the  
24 things that -- yesterday, we had another workshop here,  
25 but it was on demand forecast. And one of the parts of

1 the demand forecast was we had chart -- expected high-  
2 low, expected cases for the, you know, carbon numbers.

3 And you know, over time, you know, they go  
4 from the low number that Ray points out. As we get  
5 closer and closer to 2030 they can be relatively  
6 significant. So again, just that's sort of one of the  
7 things to look at and think of as you do your comments.

8 MR. WILLIAMS: You know, I think we'll have --  
9 I'm not that familiar with the IRP. So we'll have, you  
10 know, folks weigh in on that who are really working on  
11 that. As another benchmark you can think about the  
12 USEPA's social cost of carbon. That's an interesting  
13 benchmark. I'm sure there's others.

14 CHAIRMAN WEISENMILLER: All right.

15 MR. BARNER: This is James Barner, from LADWP.  
16 So to answer your question, we integrate it into our  
17 dispatch of our units at our Energy Control Centers.  
18 So for a vertically integrated utility like ourselves  
19 we're already seeing the Cap-and-Trade carbon cost  
20 adder being included in the dispatch of our units.

21 We also replicate that in our modeling,  
22 reduction cost modeling that we show the output in our  
23 IRP. So our greenhouse gas forecast and costs and rate  
24 impacts all include the Cap-and-Trade greenhouse gases  
25 cost in it.

1 CHAIRMAN WEISENMILLER: Thank you.

2 COMMISSIONER RANDOLPH: I had a question for  
3 SCPPA and NCPA. Ray and Shana were a little more  
4 direct about their discussion of Option A versus Option  
5 B. And you know, one of our challenges is trying to  
6 sequence this process, because we have a statutory  
7 mandate to get started on the IRP process, but at the  
8 same time, you know, we have ARB's Scoping Plan time  
9 line.

10 So I guess I just wanted to ask a little more  
11 directly your -- recognizing your concerns about the  
12 Scoping Plan generally, going with the range option,  
13 what's your kind of comfort and discomfort with that,  
14 recognizing that we need to get moving with our  
15 guidance.

16 MS. BERLIN: Thank you for the question,  
17 Commissioner. This is Susie Berlin. We believe that  
18 starting, like, by looking at the Scoping Plan range is  
19 a good place to start. But we think that there needs  
20 to be more work in between.

21 Like I said, even, you know, Rajinder had  
22 mentioned that the Scoping Plan and the IRP do not  
23 serve the same purpose. So we need to be sure that the  
24 numbers align. What we look for, you know, PG&E  
25 characterized as uncertainties, and we agree.

1           The information, we need more information to  
2 back up the numbers in the Scoping Plan in order to  
3 translate that range of potential reductions into  
4 planning targets. So using that as a basis is a good  
5 place to start the discussion, but it's not the -- not  
6 where the discussion should end.

7           MS. DeRIVI: Tanya DeRivi, for SCPPA. I'll  
8 second that. We thought that the Scoping Plan was on a  
9 two-month delay to June for adoption. We also agree  
10 that there needs to be more data assumptions and  
11 underpinning assumptions released for evaluation,  
12 especially if the 2030 targets are going to be set in  
13 that proceeding or in that planning document going  
14 forward.

15           This includes being able to see some economic  
16 assumptions, modeling assumptions, what modeling  
17 assumptions have been used for the utility sectors.  
18 Getting all of that information for us to take a look  
19 at would be pretty important before we were to be fully  
20 comfortable with using the scoping plan, as well.

21           So also understanding there are multiple  
22 processes moving forward at the same time between ARB  
23 and CEC for us, as well, which also complicates the  
24 process for us, as well.

25           COMMISSIONER RANDOLPH: Okay. And then I

1 wanted to follow up on the question of planning to the  
2 target, planning to the 2030 target. I'd be interested  
3 from any of the panelists sort of, if that were to be  
4 the case what would you -- what do you think that the  
5 Agency should be looking for in terms of interim  
6 reporting in IRPs.

7           In other words, if you are planning for  
8 certain contracts, you know, you have long-term  
9 contracts that are going to be ending at a certain  
10 point, kind of circling back to the show your work  
11 point.

12           Like, you know, how much should we expect to  
13 show -- how much should we expect the utilities to be  
14 showing their progress if we are not asking for interim  
15 achievement of targets?

16           MS. LAZEROW: I can go first, not being a  
17 regulated entity. Shana Lazerow, on behalf of CEJA.  
18 This actually hits on one of the real barriers that  
19 advocates for environmental justice communities have  
20 been facing, which is lack of access to concrete data  
21 about -- and easy access to concrete data about  
22 dispatch, dispatch order, degree to which different  
23 units are running, the building blocks that make up the  
24 emissions that we're trying to tackle.

25           And so I know that the different balancing

1 authorities obviously keep track of when units are  
2 dispatched, and that's part of their processes. I  
3 would think that all of the agencies who are regulating  
4 LSEs would want to be seeing the data presented in  
5 actual data format so that you can see how much gas  
6 fire generation is being triggered.

7           And I would think that that should inform the  
8 contracting, both the bundled plans and the long-term  
9 plans, so that it would be on the two-year cycle of  
10 IRPs, that it would constantly be informing the  
11 upcoming IRPs, how the actual dispatch is progressing,  
12 how that informs progress toward achieving target.

13           MR. WILLIAMS: Yeah. I probably would start  
14 with what you already have today. You've got a lot of  
15 source-based emissions reporting through the mandatory  
16 reporting requirement. That can be certainly  
17 aggregated or made available, maybe more visibly than  
18 it is today.

19           You have certainly the reports related to  
20 compliance with various targets for the IOUs, and I  
21 presume for the POUs, as well. That's for renewables  
22 and energy efficiency. I'm expecting they'll be  
23 something related to, you know, EVs over time.

24           So you've got a lot of emissions report by  
25 sources. You have a lot of reportings on the actions

1 that individual, at least utilities, I'm not sure about  
2 all load serving entities, are doing. And then, you  
3 know, the question about, well, how does that translate  
4 into a quantity emissions amounts, you know, a quantity  
5 of emissions.

6 That gets into a counting protocol that you  
7 would need to adopt, recognizing its limitations. And  
8 I think, you know, for PG&E the notion of a consistent  
9 counting protocol that could be applied would be -- you  
10 know -- it would be very helpful in terms of looking  
11 across particular LSEs.

12 But there are things certainly out of our  
13 control. It could be, you could have a dry year. You  
14 could have, you know, large unit outages. There's  
15 various things. You could have higher demand than you  
16 might have expected.

17 So there's a number of things, you know, in a  
18 market and just in the economy that may cause these  
19 numbers to move up and down. But you know, I would  
20 kind of start with what you already have in play at the  
21 various agencies and maybe try to assemble it and get a  
22 consistent counting protocol.

23 MODERATOR HOUCK: A lot of the issues you  
24 folks raised touched on flexibility and uncertainty,  
25 and I think we need to also have a discussion about

1 that. But before we do I think there's a threshold  
2 question that I want to explore and that kind of  
3 touches off something that Ray said.

4 I think maybe the unspoken premise of this  
5 Workshop is that at the end of the way when the  
6 agencies have, and the utilities have LSE-specific  
7 targets, it'd be nice to add them all up and to compare  
8 how they -- and to assess how they compare to one  
9 statewide target or a statewide range.

10 And I think after hearing Susie and Tanya I  
11 wasn't quite clear if some of the concerns you had also  
12 were with this whole notion of creating some sort of  
13 standard or a single measure like a range that we would  
14 hold all -- basically, to allow us to compare how each  
15 of the entities are doing, even though we have two  
16 agencies with very different jurisdictions trying to  
17 tackle this one issue.

18 So is that something that you think is a  
19 worthwhile high level goal that the Agency should be  
20 working towards? Or I mean, I guess, do you have  
21 concerns with this notion of even just picking a target  
22 for the electric sector and then working through how to  
23 set LSE-specific targets based on that.

24 MS. DeRIVI: Tanya DeRivi, with SCPA. I  
25 guess one of the issues we have with the number itself



1 would be what is included in the number. Is it only  
2 load serving entities for utilities, or does it also  
3 include, for example, the state water contractors as  
4 part of that, as well.

5 So that's one of the issues that we need to  
6 figure out, which I guess goes into the second panel of  
7 how this gets split up, but starting out with a number  
8 and how that gets developed and what's included or not  
9 included.

10 I imagine it might be an issue also for the  
11 IOUs, because of the large CCA movement, as well. So I  
12 guess we need to better understand and work through  
13 those issues. We'll be happy to try to address that in  
14 our comments when we can discuss it with all of our  
15 members.

16 MS. BERLIN: And I think -- not sure if this  
17 is exactly responsive to the question. Maybe it goes a  
18 little bit more back to Commissioner Randolph's  
19 question, as well, and this is Susie Berlin, for NCPA.  
20 The Scoping Plan targets are based predominantly or a  
21 large part on known commitments.

22 And the known commitments are also elements  
23 that are included in the reporting, the IRP overall RPS  
24 meeting the mandate, getting to the energy efficiency,  
25 you know, how that number is allocated. Those are the

1 kinds of things that will be reflected in the IRPs  
2 overall.

3           They'll be reflected in the progress that the  
4 utilities make, like Ray said, when you submit your  
5 reports for compliance. So to the extent that you're  
6 meeting the known commitments, to the extent the  
7 utilities are already complying with the various  
8 statutory mandates, that will help track the progress  
9 towards meeting the overall reduction, because they all  
10 work together.

11           MODERATOR HOUCK: One thing we haven't talked  
12 about is this, you know, the idea of IRP is that, I  
13 think, and this is from the statute, that it's  
14 sometimes reiterative. And so at the very beginning of  
15 the process we're living in a world of a lot of  
16 uncertainty.

17           Things should become clearer over time, but  
18 right now, we have kind of imperfect information and  
19 very complicated time lines to deal with between the  
20 agencies. So you know, Shana, you were kind of erring  
21 on the side, well, we have uncertainty and you've  
22 acknowledged that, but you want to have -- you think  
23 it's better to focus on setting really hard targets and  
24 kind of constraining the flexibility that we allow  
25 LSEs.

1           And utilities I think were saying, well, we  
2 have uncertainty; therefore, we need a lot of  
3 flexibility to kind of account for the fact that we  
4 don't know what the future's going to look like. And  
5 so I wonder if the panels can talk a little bit about  
6 that balance between -- the tension between uncertainty  
7 and flexibility.

8           And even though the Scoping Plan does have a  
9 really wide range and there's a role for the agencies  
10 to kind of interpret, you know, what to do with that  
11 range, is there -- and you may have, you know, concerns  
12 with how the Scoping Plan is, you know, the modeling  
13 that's being done -- but is there enough wiggle room in  
14 the numbers that we've seen there be, recognizing that  
15 the process isn't done yet, to kind of, you know,  
16 satisfy some of your concerns about flexibility in  
17 setting targets for IRP.

18           Ray, do you want to go ahead?

19           MR. WILLIAMS: Sure, bravely. So and first,  
20 there's a range and then let's think a little bit about  
21 process. There's a range in today's Scoping Plan.  
22 There's certainly a compliance responsibility for the  
23 state overall.

24           It's a 40 percent reduction in emissions by  
25 2030. So that's a given. We know how we get there is

1 going to be uncertain, and one would expect, as you  
2 gain experience across all sectors, not just the  
3 electric sector, that that will be reflected in the  
4 next Scoping Plan.

5           And from how that's captured in the next  
6 Scoping Plan, one would expect that that will have some  
7 effect on the IRPs for individual load-serving  
8 entities. So there's, you know, there needs to be  
9 probably a relatively tight cycle around that so that  
10 we can adjust along the way.

11           So you know, in that context I think a range  
12 today certainly makes some sense. And in terms of, you  
13 know, we certainly do see it as a planning target, as  
14 opposed to something more like another mandate, for a  
15 number of reasons.

16           I could get into those, if you like. You  
17 know, three as an example. One is, you know, there may  
18 be, you know, a snow pack that diminishes over time and  
19 less hydro generation, you know, through 2030. There's  
20 certainly uncertainty around that that's going to  
21 affect emissions.

22           Another is, that we've talked about, is the  
23 amount of electrification in the transportation sector.  
24 Certainly, we're going to move toward low carbon  
25 transportation. It's probably primarily electricity,

1 but there's hydrogen and other fuels.

2           So there's uncertainty there, and you know,  
3 you want to have I think the flexibility to operate in  
4 a Cap-and-Trade market. And once you've moved through  
5 the compliance obligations, both the electric and the  
6 transportation sector, and potentially other sectors,  
7 you really do want to have the ability to find the  
8 lowest cost reductions by using the Cap-and-Trade  
9 Program.

10           MS. DeRIVI: Tanya DeRivi, SCPPA. I'll add to  
11 the list of uncertainties, unknown changes in state  
12 law. That includes both a post-2020 Cap-and-Trade  
13 Program, if there is one this year per the Governor's  
14 budget proposal with a two-thirds majority vote.

15           Unknown changes to the RPS Program going  
16 forward, as well. There's also a number of other  
17 unknowns like the Biomass Mandate that we hadn't  
18 expected at the end of the legislative session, which  
19 would result in increased emissions, which we have to  
20 procure, at least some of our members have to procure  
21 under state mandate, which we would not otherwise have  
22 done. So those are -- I'll add that as a big list of -  
23 - to the list of uncertainties on why we need  
24 flexibility.

25           MODERATOR HOUCK: Shana, please.

1 MS. LAZEROW: Thanks. I think that's a really  
2 important question. So the range of uncertainty  
3 historically has been borne, the impacts of that  
4 uncertainty has been borne by environmental justice  
5 communities.

6 So when we need more polluting or gas-fire  
7 generation we see it sited in environmental justice  
8 communities. The dirtiest peakers tend to be in more  
9 heavily impacted communities. And I think the law is  
10 pretty clear that it's time to shift the burden of  
11 uncertainty from disadvantaged communities.

12 And so I think we would object to a wide range  
13 like that. The actual target is 40 percent by 2030 and  
14 going down to 80 percent. So I think that we need to  
15 see a hard target for the electricity sector. And  
16 there's a lot of room for play.

17 Many of those uncertainties that were just  
18 identified should actually result in over-performance.  
19 I mean, Ray brought up the impacts of over generation.  
20 Electrification of the transportation sector is a  
21 tremendous opportunity to address the concern about  
22 over generation, which we're hearing from CAISO.

23 We're hearing in all of these planning spaces  
24 that over generation is a real concern. It's not a  
25 concern with you have 1,000, a million, 100 million EVs

1 on the roads that can soak up your over generation and  
2 smooth out those curves.

3 And that's the direction that we're headed. I  
4 don't think that we should assume that it's -- that all  
5 of these uncertainties will result in failing to  
6 achieve targets. I think we should set targets that  
7 really drive, really drive planning and actual  
8 performance of our electricity sector.

9 MODERATOR HOUCK: And how about the notion of  
10 innovating over time? So if -- I think a lot of the,  
11 you know, the POU's have expressed discomfort with, you  
12 know, some of the detail and the numbers that exist  
13 now.

14 You were kind of expressing that, you know,  
15 well, we should set a hard target, but we don't know --  
16 things may change in the end. So the 40 percent target  
17 is for the economy-wide, not necessarily for the -- we  
18 don't know how that translates yet to electric sector  
19 target.

20 So let's just say that the agencies were to  
21 set a hard, you know, enforceable target this year, but  
22 we have different information in the future that would  
23 lead us to believe that it may be more reasonable to  
24 set a different target.

25 Did you think it's, you know, reasonable to

1 kind of keep considering that over time and, you know,  
2 revising a target as more information becomes  
3 available, and building in flexibility even if, you  
4 know, you advocate for something that's, you know, hard  
5 and fast now?

6 I mean, it's a planning, you know, Cap-and-  
7 Trade is, you know, a number, but IRP is more planning.  
8 So how do we kind of build in -- is there a role for  
9 flexibility in your vision for IRP?

10 MS. LAZEROW: There's definitely a role for  
11 flexibility in IRPs. The IRPs are resulting in  
12 procurement plans. And when I was thinking through the  
13 interactive approach, each procurement plan needs to be  
14 informed by the performance toward the target.

15 And so the Commissioners sitting in this room  
16 have a tremendous amount of say about what resources  
17 get procured and whether it's demand response, whether  
18 it's storage, whether they're authorizing procurement  
19 of gas-fired generation.

20 This is the space where the iteration and the  
21 system performance needs to really have information.  
22 And so if a utility -- I mean, I think that the CARB  
23 doesn't anticipate that the electricity sector is going  
24 to hit 40 percent, that every sector is going to hit 40  
25 percent.



1           We need to really perform better than 40  
2 percent in the electricity sector, and I think that  
3 there's a tremendous amount of opportunity in this  
4 moment to do that, that the benefits are going to be  
5 society-wide, and just the pace of technological  
6 advances is tremendous.

7           And so to assume that the way things looked a  
8 decade ago determines what we can do in the electricity  
9 sector would be a mistake.

10           MODERATOR HOUCK: We only have a few minutes  
11 left for Commissioners or panelists. Do you have any  
12 last questions or points you'd like to make?

13           CHAIRMAN WEISENMILLER: I think, again, one  
14 thing I'd encourage people in their comments was just,  
15 following up on Commissioner Randolph. We have from  
16 the ARB the schedule for the Scoping Plan at this  
17 stage, and at the same time everyone's been pushing  
18 both of us, I think, for more clarity and for starting  
19 to move the IRP process.

20           And so at least my theory is that we're going  
21 to launch something and eventually we'll have to true  
22 it up with the Scoping Plan, as opposed to waiting for  
23 the Scoping Plan to be final. But certainly, again, to  
24 the -- you know -- if people can think through that  
25 implementation detail and come up with ideas on how to

1 do this, because a lot of what we're doing now is  
2 setting frameworks.

3 MS. BERLIN: This is Susie Berlin. May I ask  
4 a question, then, in that regard? The Scoping Plan has  
5 laid out this initial range, and Rajinder said that  
6 this Joint Agency Working Group is going to be  
7 addressing this separately to look deeper at these  
8 issues, many of which we've raised today.

9 So maybe this is a question for Rajinder. Is  
10 approval of the Scoping Plan going to be the actual  
11 approval that is envisioned for CARB? I mean, I think  
12 that the time lines were different. Or can these  
13 further issues be addressed concurrently, but not  
14 necessarily be contingent upon the Scoping Plan?

15 CHAIRMAN WEISENMILLER: That's a good  
16 question. Certainly, again, I'm looking for people's  
17 feedback on just the realities of the time lines, you  
18 know. I mean, certainly, 350 sets a time line for us  
19 on what we have to implement.

20 The ARB has a time line for the Scoping Plan.  
21 I think all of our experience in these issues is things  
22 tend to happen later, as opposed to sooner, and somehow  
23 we have to mesh them. But again, realizing, I think  
24 certainly Staff's been pretty clear, you know, this is  
25 like the first IRP -- there's going to be a number of

1 IRP processes between now and 2030. So I'd be amazed  
2 if we get everything right the first time.

3 MODERATOR HOUCK: Well, thanks to all of our  
4 panelists for your insightful comments and I don't know  
5 if we're going to take another break or --

6 MS. RAITT: Yeah. If I could just thank you  
7 and ask you to go ahead and take your seats and then  
8 I'll bring the next panel up and it'll just be just a  
9 minute in transition here.

10 (Pause)

11 MS. RAITT: So if folks will go ahead and take  
12 their seats, that's great. So our next presentation is  
13 Garry O'Neill-Mariscal, from the California Energy  
14 Commission Staff. Thanks.

15 MR. O'NEILL-MARISCAL: Hello. My name is  
16 Garry O'Neill-Mariscal, with the California Energy  
17 Commission, Supply Analysis Office. I'm a Supervisor  
18 for Electricity System Modeling Group. I provide the  
19 presentation summarizing or giving an overview of the  
20 Panel 2 Discussion.

21 And the previous panel discussed options for  
22 developing an Electricity Sector Planning Targets. The  
23 next panel will discuss options for splitting that  
24 sector target -- sector-wide target between CPUC  
25 jurisdictional entities and the POU's. And as we also

1 heard earlier, there may be some consideration for  
2 other LSEs.

3 To frame the discussion, Staff, with the  
4 Energy Commission and the CPUC, developed three  
5 options, which were posted on February 10th, 2017. The  
6 first option, which was described as Option A, proposes  
7 a method similar to ARB's Allowance Allocation Method.

8 Under Cap-and-Trade, ARB bases allowance  
9 allocations on three factors: each utility's expected  
10 emissions between 2013 and 2020, cumulative energy  
11 efficiency investments and early investments in  
12 renewable energy.

13 To set the GHG targets for the IRP process,  
14 the electricity sector target from Part 1 would be  
15 proportioned based on the allocation allowances between  
16 the PUC jurisdictional entities and the POU's. This  
17 option has the benefit of reflecting the utilities'  
18 resource mix.

19 However, this allowance allocation is expected  
20 to change for post-2020 allocations, and also, there  
21 will be additional adjustments needed to account for  
22 emissions associated with CCAs and ESPs.

23 Option 2 is a somewhat simpler option that is  
24 expected -- simpler approach which divides the  
25 electricity sector targets based on electricity loan

1 served in 2016. This option uses retail load forecasts  
2 as a proxy for LSE and POU GHG emissions for defining  
3 planning targets.

4 Additional adjustments would also be needed in  
5 this method to allocate for individual LSE and POU's,  
6 which would be deferred to the PUC and the CEC during  
7 further processes, it's been called. Option C has been  
8 called a bottom up approach.

9 Under this method each retailer seller's  
10 demand would be estimated based on the latest CEC  
11 demand forecast. An estimate of the renewables and  
12 zero low carbon emission resources owned or contracted  
13 will be made for 2030 based on existing contracts and  
14 ownerships, as well as, and assumptions made for a 50  
15 percent RPS in 2030.

16 The remaining emissions would be assumed to be  
17 met with natural gas-fired generation. The final  
18 target would be determined by scaling up or down  
19 emissions estimates proportionately until the  
20 aggregated statewide emissions are achieved, emission  
21 targets are achieved.

22 So that is a summary of basically what was in  
23 the white paper for the Panel 2 Discussion. Before I  
24 turn it over to the Panel Discussion I wanted to allow  
25 the dias an opportunity to comment before the

1 discussion continues. Anything? Okay. So with that,  
2 I will turn it over to Michael Sokol, who will  
3 introduce the Panel Discussion.

4           MODERATOR SOKOL: All right. Thank you,  
5 Garry. And so thank you again for the panelists for,  
6 you know, coming up here to say a few words. I think  
7 we heard a good discussion this morning on the first  
8 panel for methodology on establishing the target, and  
9 then this panel's really focused on the sketching of  
10 dividing the target between the CPUC and Energy  
11 Commission's separate processes.

12           And so you'll see, if we go to the next slide,  
13 you'll see that there were some guiding questions that  
14 are sort of summaries of what's in the posted white  
15 paper. And really, I'm going to ask each of you, we'll  
16 just go around and do some introductory comments, but  
17 in framing those comments please try to focus on those  
18 first two questions there.

19           So of the three options that we outlined in  
20 the options paper that was posted, which is the  
21 preferred, or is there another alternative methodology  
22 that would be preferred? So I think we'll go ahead and  
23 just start here with Justin and then try to keep it to  
24 about three to five minutes. Given the size of the  
25 panel, we want to make sure there's enough time for

1 discussion.

2 MR. WYNNE: All right. Thank you, and thanks  
3 for the opportunity to speak today. My name's Justin  
4 Wynne, and I'm here on behalf of the California  
5 Municipal Utilities Association. And just quickly,  
6 initially, I wanted to indicate our support for the  
7 comments earlier from NCPA, SCPPA, L.A. and others.

8 I think we share, in particular, the concern  
9 that it needs to be clear that this exercise is for  
10 planning purposes and it's going to drive the long-term  
11 resource procurement decisions, and that the actual  
12 compliance and enforcement is separate, particularly  
13 for RPS and the GHG reduction targets.

14 It's clear that those have very comprehensive  
15 compliance and enforcement regimes, and that we need to  
16 make sure that this process doesn't evolve to the point  
17 where we're seeking to have enforcement through the IRP  
18 for the reasons that have been mentioned earlier.

19 So for the questions before this panel, CMUA  
20 at this point doesn't have a clear preference for any  
21 of the options. I think we're still evaluating. I  
22 think we have a lot of questions about some of the  
23 assumptions and the purpose behind this part of the  
24 questioning, the exercise of dividing between the 16  
25 POU's and the CPUC entities.

1           And I guess my first question would be, it's  
2 not clear that this exercise is necessary. Looking at  
3 the statutory language, there's parallel statutory  
4 provisions that direct ARB to set an electric sector  
5 target and then to identify entity-specific targets.

6           Presumably, if you did those two tasks you  
7 could aggregate up from each of the entities for the 16  
8 POU's and the CPUC entities, and then that would give  
9 you the division between the two different agencies.

10           And so given that that's what mandated under  
11 the statute, I think we need to understand what is  
12 Staff's intent, what is the purpose behind having this  
13 intermediary step where we are dividing before we move  
14 into the entity-specific targets and how those relate  
15 to each other.

16           I think, so related to that, is then what is  
17 the relationship between the methodology and the  
18 assumptions we're using here for this effort of  
19 dividing this target, and then the ultimate entity-  
20 specific targets, because I think there's different  
21 consideration.

22           So if the methodologies and assumptions we're  
23 using here are going to drive what we can do for the  
24 entity-specific targets, I think that leads to a  
25 different consideration than if this is a completely



1 standalone activity where we're just dividing up, and  
2 then the choices we're making here have no impact or no  
3 effect on the actual entity-specific targets.

4           If this does drive and have a big impact on  
5 the entity-specific targets, I think the option that we  
6 are picking has to look at the individual utilities,  
7 has to insure that there's enough flexibility in the  
8 methodology that it's recognizing the starting point,  
9 the resource mix, unique characteristics for the  
10 individual utilities and making sure that we're not  
11 disproportionately burdening one community of  
12 ratepayers over another in reaching these targets.

13           If this is a standalone exercise and it has no  
14 other impact, I think the consideration then is at an  
15 aggregate level. So we would need to look at the 16  
16 POU's, their resources, their characteristics as a  
17 group, versus the CPUC entities as a group, and make  
18 sure that this methodology is appropriately balancing  
19 the obligation between those larger groups.

20           So understanding what the -- the impact at the  
21 next level I think will help guide what the  
22 considerations are for this question. So my final  
23 point, then, is that it is not clear to me that the  
24 electric sector target or range that's identified in  
25 the ARB Scoping Plan is aligned with the group of

1 entities that have to file an IRP.

2 I believe it is a broader group than what is  
3 here. And so I think to -- before we are taking a  
4 number and splitting it up, we need to make sure that  
5 it's the right number. And so what I think we need to  
6 do is identify all of the entities whose generation is  
7 factored into the electric sector target and come up  
8 with a methodology to have assumptions for the  
9 reductions for any entity that's not filing an IRP  
10 under one of these, and we need a methodology to net  
11 that out.

12 Potentially, it's the same methodology for  
13 splitting. I think depending on what the entities are  
14 it may be different, but I think we need to better  
15 understand the universe of what is under that target.

16 I think one clear example is that there are  
17 24, roughly, POU's that don't have an IRP obligation.  
18 And by my rough math, I think thereabout, that  
19 represents about 1.7 percent of the statewide load.  
20 And so I think we need to be careful that when we are  
21 dividing up the target we're not taking any assumptions  
22 for the emissions from those utilities and assigning  
23 that to this other group.

24 And so there needs to be as a part of that a  
25 methodology to have assumptions about their reductions

1 and then make sure that gets netted out before there's  
2 a splitting. And just to clarify, if there's any  
3 concerns, I don't think that that means that there  
4 won't be emissions reductions for those utilities.

5           One, there is still -- whatever the  
6 methodology the ARB's going to adopt to achieve the  
7 statewide emissions reduction target, that will still  
8 exist, regardless of this IRP process. And so whether  
9 or not the small, 24 POU's, are a part of the IRP  
10 process doesn't impact meeting the statewide target.

11           Additionally, those utilities themselves have  
12 a lot of pressures that will reduce their emissions.  
13 There's the 50 percent RPS. There's energy efficiency  
14 and a host of other mandates that are going to drive  
15 down their emissions.

16           And so I just want it clear that it's not that  
17 they won't be achieving this or that the state's going  
18 to be short by netting those utilities out. But it is  
19 clear that we need to be accurate in what we are  
20 actually splitting up.

21           So just, I would just note that of the three  
22 options it does appear that Option C is moving in the  
23 right direction because it is taking into consideration  
24 the starting point and some of the resource of the  
25 existing portfolio of these utilities.

1           But like I was saying, I think we need more  
2 information and we need more understanding before we  
3 can state a preference for how we split this up.

4 Thanks.

5           MR. SMITH: Hi. This is Adam Smith, with  
6 Southern California Edison. I'm the manager of Climate  
7 Policy. I actually agree with quite a lot that was  
8 said before. So I'll try to keep it new. Just to kind  
9 of briefly sketch out Southern California Edison's  
10 position on the previous panel, I'll keep this very  
11 fast, because I intend to stay within my three to five  
12 minutes, we do have a strong and early preference for  
13 Option A, which would be to utilize that range.

14           We believe it's a modeled approach, which is  
15 helpful to kind of get a general sense of where our  
16 electric sector needs to be in the year 2030, if the  
17 state as a whole is going to achieve its goals. Now,  
18 that said, those two specific numbers, the 42 and the  
19 62 million metric tons, may not necessarily be the  
20 right and the final numbers that we think we should use  
21 for that range for some of the reasons I think you just  
22 heard.

23           I think in my mind the three ways why those  
24 numbers may not be the precise right numbers to use for  
25 that range, I mean, number one, there is a little bit

1 of uncertainty and that's how you get the range in the  
2 first place, as to the ability of complementary  
3 policies to actually achieve emission reductions.  
4 There's one kind of realm of uncertainty.

5           There seems to be in my view an additional  
6 kind of wiggle room for those two numbers where you  
7 start looking at the entities that either are in or out  
8 of that calculation and how does that map directly onto  
9 the folks who have to file IRPs.

10           And I think the third, and it was I think  
11 briefly mentioned in the panel before, is there's some  
12 things that are firmly within the control of the  
13 electric utilities. There are things we can do to  
14 reduce emissions, and there are some things we can  
15 help, but we can't do all on our own.

16           I mean, you think about energy efficiency, in  
17 some senses, even transportation and electrification.  
18 So with those kind of three maybe caveats I think we  
19 believe Option A is the best way to proceed, because it  
20 does utilize that model of approach and gives us a  
21 sense of kind of where we think we should end up.

22           And now to transition to I guess more directly  
23 to the topics of this panel, and I'll try to address  
24 the questions as they come up there. Southern  
25 California Edison has a strong preference for utilizing

1 Option C, that is, the bottom up methodology.

2           We like it for a number of reasons. We think  
3 it mirrors the way that the California Resources Board  
4 determines the anticipated emissions for the utilities  
5 and their allowance allocation methodology.

6           That is not to be confused with the actual  
7 allocation we get, but the way that they determine the  
8 anticipated emissions from each of us that then goes on  
9 to inform the allocations which we receive. We think  
10 that something like Option C sort of mirrors that  
11 calculation.

12           And also, I think something that was mentioned  
13 previously, this bottom up methodology in a way kind of  
14 sidesteps this difficult question about how to divide  
15 up that range or any kind of specific sector-wide GHG  
16 target.

17           Instead of being a kind of question to be  
18 answered or a decision to be made about how that split  
19 occurs, instead, I think it, if you take this bottom up  
20 approach, it's more like a ratio that is revealed.

21           And so in that way we think it maybe helps to  
22 kind of stop some of the more difficult discussions up  
23 front and you kind of hold steady that range you know  
24 that's where you need to end up. And if you start  
25 building from the bottom up you get a sense of where

1 you actually think everyone will be, which is I think a  
2 kind of helpful way to just start the kind of  
3 discussion.

4           There's also the opportunity under Option C to  
5 utilize existing data sources, at CARB and at the CEC.  
6 So we think that that makes it a little bit easier.  
7 Everybody kind of has the opportunity to start kicking  
8 around some of the data sets and we're all pretty  
9 familiar with them.

10           If I could transition probably to the -- I  
11 guess it would be the fourth question down the list,  
12 because I think for number three, I think that some of  
13 the data that is needed for Option C is already pretty  
14 readily available.

15           Hydro variability is a kind of unique  
16 question, because I think that the way that -- at least  
17 in the near term -- California Air Resources Board kind  
18 of projects hydro production in the allowance  
19 allocation methodology is probably useful and it's a  
20 good place to start.

21           What they, in short order, they basically kind  
22 of average the 2013 and 2014 year and just kind of  
23 pancake that out across the rest. That may not be  
24 where we end up and I'm very aware of that.

25           That may not be the best kind of assumptions

1 to be making about what hydro production in the state  
2 looks like, because I've sat at this table and have  
3 been in this room and have had the opportunity to tell  
4 a number of you about SCE's climate adaptation work.

5           And we recognize very clearly that the hydro  
6 production that we've relied upon in the past may not  
7 be the kind of hydro production we can rely upon in the  
8 future. So as an interim solution and kind of getting  
9 to the iterative nature of the IRP we think that maybe  
10 the way ARB averaged those two years and kind of  
11 utilized them as a nice average may be the best way to  
12 go in the near term.

13           And finally, I'd just like to take a brief  
14 minute or two to talk about transportation  
15 electrification. Transportation electrification  
16 obviously incredibly important to achieving the state's  
17 overall GHG goals, and you guys are all pretty familiar  
18 with this.

19           It's also -- I mean, you guy shave read SB 350  
20 the same way we have. We are directed to bring forth  
21 applications to further the state's electrification  
22 goals. And so that's something that we're, you know,  
23 enthusiastic about doing.

24           We've done it already, as I think some of you  
25 have seen one of our applications so far. And I think



1 going forward in this IRP process we need the ability  
2 to just to feel comfortable with the fact that if load  
3 does increase significantly and if we need to utilize  
4 natural gas resources or other resources, if our  
5 emissions have to increase in the electric sector to  
6 achieve that societal good, we need to insure there's  
7 some kind of after the fact crediting mechanism, or  
8 this TE load needs to be baked into the initial  
9 forecast which we're using.

10 I think at this point we're thinking that  
11 because of some of the forecasts we've seen, the TE  
12 adoption forecasts we've seen, maybe an after-the-fact  
13 crediting mechanism, a way to true up our goals, our  
14 GHG targets, if we can demonstrate there's a  
15 significant amount of transportation electrification  
16 occurring on the ground due to our actions or market  
17 forces, we think that something like this after-the-  
18 fact crediting mechanism would be useful.

19 We're, you know, suggesting that the same  
20 thing occurs in the Cap-and-Trade Program, and we think  
21 that that's also applicable in the IRP process. So  
22 with that I'll finish my remarks. Thank you. I'm  
23 sorry.

24 MR. ZETTEL: Yeah. This is Nick Zettel, from  
25 the City of Redding Electric Utility, probably the

1 smallest. I think I am the smallest POU that has to  
2 file an Integrated Resource Plan. So for just, given a  
3 scale, we're about a tenth of SMUD's load. So which  
4 we're probably PG&E's distribution losses on any given  
5 day, equivalent.

6 (Pause)

7 MR. ZETTEL: But nevertheless, we're in  
8 California and, you know, we're an electric utility.  
9 We will meet the goals that are laid out in front of  
10 us. So now that we have kind of a perspective of the  
11 size, I want to give a perspective of Redding that's in  
12 a very low income community.

13 So there's disadvantaged communities for  
14 emissions and other reasons. There's also -- you know  
15 -- Redding, obviously, it's very beautiful up there,  
16 clean air, lots and lots and lots of water right now,  
17 but very low income.

18 And so as a POU we are tasked with  
19 transitioning to where California's goals are, while  
20 maintaining rates and affordability for our customers  
21 to get there, and not having one override the other,  
22 because we don't want to have a crash course.

23 And so being a POU, all the major actions take  
24 place at the City Council, and it's a very, very local  
25 process, and a very, very public process. And the most

1 exciting events are typically rate hearings. Those get  
2 very exciting.

3 And we have to explain all this to a City  
4 Council that also deals with police and fire and many  
5 other issues, and this is not just Redding. It's  
6 Roseville and all the other cities, which puts the onus  
7 on the POU to explain in terms the public can  
8 understand what California's trying to achieve, what  
9 are the goals, what are the time frames, what are the  
10 competing EVs and SBs and the regulations.

11 So just to give a quick example, and I'll get  
12 to the questions and the preferred option. I think as  
13 a quick example, what Redding's been up to, even as a  
14 very, very small POU, in this calendar year we are  
15 terminating our long-term agreement with a coal project  
16 in the Southwest.

17 However, the debt service maintains through  
18 2023. So no more power, but we still have to pay the  
19 mortgage on it, right? In the meanwhile, we've been  
20 procuring our PS resources to stay on target. We've  
21 deployed a tremendous amount of energy storage for our  
22 size.

23 We are currently deploying a transportation  
24 electrification program for both our customers and to  
25 start electrifying the city's fleet. One advantage is

1 being a department of a city is you can also reach the  
2 other departments of the city.

3 We've been also supporting solar in the  
4 service area, all the while maintaining reliability  
5 resources, as Susie mentioned, the bulk transmission,  
6 our, you know, our natural gas-fire combined cycle  
7 generation, and in the meanwhile keeping emissions low  
8 with that and meeting all of our permit requirements.

9 All of these efforts at the end of the day all  
10 focus on a greenhouse gas reduction for the future.  
11 And it takes time and it takes funding. It takes  
12 money. And so I think from Redding's perspective,  
13 speaking for small POU's, especially in a rural area  
14 with low income, we're getting there.

15 We're turning the ship and we're taking the  
16 actions that we need. We probably can't get there as  
17 fast as some of the other higher-income communities  
18 that can afford -- absorb some of the stranded asset  
19 and things.

20 But you know, we may be trailing a little bit  
21 and I hope through this process there's an  
22 understanding of that, and maybe knowing that not every  
23 utility and every Californian is at the same  
24 socioeconomic level to get to this new, you know,  
25 social goal that we're trying to get to.

1           So given what I've been speaking to, time is  
2 of the essence for this process to develop an IRP. The  
3 Workshop this afternoon to talk about the guidelines,  
4 talk about when we would be submitting, when it would  
5 need to be adopted by our boards or our councils, which  
6 means that's when we would need to know the greenhouse  
7 gas reduction target, which would then help define, you  
8 know, the energy efficiency goals.

9           Do we need to do more renewables over the RPS  
10 percentage? Do we need to reduce gas generation and  
11 other things. So I know that everybody is aware time  
12 is of the essence here, but we can't get lost in trying  
13 to nail down the exact number when this is a 13-year-  
14 long goal and it will have three more IRPs involved, a  
15 lot of iterations.

16           So from what I've heard from the first panel  
17 and so far on this panel, given the level of  
18 uncertainty involved with either the information in the  
19 Scoping Plan and the emission estimates from there, or  
20 the baselines as -- that have been talked about today,  
21 I think we should probably focus on an initial step and  
22 just be willing to be flexible to change it.

23           And I don't mean flexibility as a scapegoat to  
24 not meet the goals. I mean flexibility so that we can  
25 actually get this done. If we take a hardline stance

1 too early and work towards a number that isn't  
2 achievable I think we might have some frustration and  
3 some push-back.

4           Given that, I'll talk about what option I  
5 think Redding recommends. To kind of echo what Justin  
6 has said, we don't -- this has happened pretty quick.  
7 So we really haven't dug into the details, but if we  
8 had to choose or lean towards an option, it would be  
9 Option C from a bottoms up approach.

10           I think to put a little bit more meat to  
11 Option C would be actually say, what is an emissions  
12 intensity under Option C. So in 2030, given demand  
13 forecasts for POU's, IRUs or CCAs and the like, what  
14 would be the pounds per megawatt hour of emissions  
15 intensity, and then compare that to the estimate  
16 megawatt hours it would be in 2030 from a demand  
17 forecast.

18           Then do a bottoms up baseline and say, okay,  
19 these LSEs are at the expected emissions intensity for  
20 2030. These may be under. These may be over, and then  
21 you could actually start defining targets. And then  
22 folks that have taken early actions could see those  
23 early actions materialize in the target.

24           Folks that are still working towards it could  
25 at least see the gap between where the mean or the

1 average emissions intensity would be in 2030 and where  
2 they would be. And it just -- I think it would give  
3 everybody some more clarity on it.

4           Otherwise, I think Option C, as Adam spoke to,  
5 best recognizes the process being used in the Scoping  
6 Plan and the allocation of allowances in 21 through 30.  
7 I don't exactly know how that worked, but I know there  
8 was some talk about S2 forms and other things out of  
9 the IEPR, which leans me to believe it was a load and  
10 resource balance, which is what Option C leads to.

11           I think that there needs to be some  
12 recognition for entities that have been working towards  
13 reducing greenhouse gases earlier than later, and  
14 taking on debt load and other costs and trying to  
15 maintain rates and do that.

16           So if we can go with Option C or something, a  
17 variant of it, I would like to see some form of early  
18 action mentioned or a way that we can see what's been  
19 going on. Redding's been working very hard to do that,  
20 and it's not free and it's not easy.

21           And so you know, we're definitely a part of  
22 the future here and I appreciate your time. Thanks.

23           MR. TUTT: Good morning. Tim Tutt, from the  
24 Sacramento Municipal Utility District. And I'd like to  
25 just briefly go back to the ARB presentation this

1 morning of the Scoping Plan. I think we're all  
2 stakeholders here of one kind or another, engaged in a  
3 grand project of trying to achieve that 40 percent  
4 below 1990 levels by 2030.

5           And we have lots of tools to do that, lots of  
6 parts to put into the picture, including all the  
7 complimentary measures, the known commitments that  
8 Rajinder talked about, the RPS for the utilities,  
9 energy efficiency doubling emission performance  
10 standard, which prevents new coal from being brought to  
11 the picture.

12           But the thing that really insures that we meet  
13 that target as a state is the Cap-and-Trade Program,  
14 and that program in itself has some of the flexibility  
15 to find the least cost -- most cost-effective measures  
16 to get there, but it insures that we do get there.

17           And I feel kind of like a contractor on a  
18 project that's been delivered a part here that doesn't  
19 quite fit into the picture, because the Cap-and-Trade  
20 structure works when there's minimal targets on  
21 individual sectors within it, or individual entities  
22 within it.

23           It allows those entities to trade back and  
24 forth and sectors to trade back and forth. So in that  
25 context I think we've been given this goal of having



1 these electric sector and individual LSE targets, but  
2 we need to take that and make it as flexible as  
3 possible to avoid -- minimize any disruption in the  
4 Cap-and-Trade market.

5           And for that reason I liked the range concept,  
6 maybe not the exact numbers, because I don't believe  
7 that ARB intended in that modeling that these would be  
8 the electric sector target numbers. I think that's a  
9 process that still is coming down the line at ARB.

10           And then given that, I would like to see that  
11 range flow through the process all the way down to the  
12 individual targets so that there's flexibility for all  
13 of the LSEs, as well. I don't think in the first panel  
14 that you need to ask the question or answer the  
15 question, shall we choose the high end of the range or  
16 the low end of the range. I think you can just use the  
17 range, whatever it ends up being.

18           With respect to the questions on this panel, I  
19 do think, again, SMUD thinks that Option C is probably  
20 the best, given the amount of time we've had to look at  
21 it. You know, allocations are not necessarily a good  
22 way to do this division.

23           The oil companies will tell you that  
24 allocations don't mean obligations, very clearly. The  
25 second option of using the, you know, 2016 load, I

1 believe there's still too many differences between the  
2 emissions intensities and emissions of each individual  
3 utility in 2016 to make that not a great way of  
4 dividing between the CPUC and CEC jurisdictional  
5 entities.

6           And so a bottoms up approach is what I would  
7 recommend, and I think, as well, that as we look at  
8 this approach the idea from Nick of looking at an  
9 intensity is a good one. It helps to minimize the  
10 disruption in the Cap-and-Trade market, as well, if  
11 what we're shooting for is a intensity in a target, a  
12 range of intensities, perhaps, rather than a mass based  
13 target, because there's too much danger that in a mass  
14 based target somebody will say, that's what you have to  
15 actually be held to in your Cap-and-Trade, you know,  
16 structures.

17           So I would prefer an intensity target and I  
18 think that helps with some of the questions that you  
19 have up on the board, how to -- accounting for hydro  
20 variability. If you have some variation in hydro  
21 you're still maintaining a pretty constant intensity.

22           Whereas, your mass based emissions will be  
23 going up and down significantly. It helps with the  
24 vehicle electrification if you have an intensity  
25 target. Again, it's going to -- as you add more load

1 you can maintain your intensity target.

2           Whereas, you'd have to sort of adjust your  
3 mass based target, perhaps. I do think that we need to  
4 look at the effects on the transportation and try to  
5 understand if -- in terms of our IRP processes and any  
6 targets that we have what kind of credit gets provided  
7 to the reductions in the transportation side, because  
8 they don't have a target.

9           But if the electric sector is out there  
10 electrifying transportation then we're doing a lot that  
11 would not necessarily be -- well, actually, it would be  
12 counterproductive to our own mission. So we need to  
13 try to understand how to take that into account.

14           And I guess finally I'd say, we don't -- there  
15 is a lot of uncertainty that's been talked about from a  
16 variety of things, including technological uncertainty  
17 and uncertainty as to how fast the consumers will adopt  
18 some of these new technologies we're all talking about.

19           I read somewhere that the percentage of new  
20 vehicles sold in I think it was Denmark last year was  
21 29 percent. And so imagine if somehow our consumers  
22 here jumped on the electric vehicle bandwagon to that  
23 extent, much more than we're anticipating.

24           That scenario certainly would imply that  
25 there's a lot more of emission reductions coming from

1 the transportation sector than the modeling in the  
2 range of numbers in the current Scoping Plan, which is  
3 just modeling the known commitments, basically.

4           So I think we need to take that into account  
5 and just, these have to be planning targets and ranges  
6 and intensities that are good things to consider when  
7 we're looking at it. Thank you.

8           MR. WOODRUFF: Should I proceed?

9           MODERATOR SOKOL: Yeah, go ahead, Kevin.

10 Thank you.

11           MR. WOODRUFF: Kevin Woodruff. I'm a  
12 consultant for TURN, The Utility Reform Network. Thank  
13 you for inviting my client to participate in this panel  
14 today. With regard to the main topics of this panel,  
15 again, we don't have a particular preference at this  
16 point, A, B or C.

17           They each have their charms and their fairly  
18 obvious drawbacks. A, the nice thing is the numbers  
19 are done. Of course, they're dated by several years  
20 and things have changed a lot in a few years. B is  
21 probably the simplest and most transparent, and you  
22 know, could arguably be a very -- some would argue a  
23 fair allocation.

24           Perhaps they don't look at the individual  
25 circumstances as much as Option C potentially could.

1 And it seems the four utility reps before me seem to be  
2 saying, we kind of like Option C, depending, because  
3 there are some details to be worked out.

4 The major issue I wanted to raise in this  
5 particular panel is down under the third bullet, if you  
6 do proceed with Option C is, and I believe on the slide  
7 -- you don't need to move it -- but slide five on the  
8 second bullet says, "Account for POU LSE zero or low  
9 carbon resources."

10 We want to be very careful in how we define  
11 those. It's one thing for SMUD to count the upper  
12 American River Project as a low carbon resource because  
13 you've got it, it's there and it's zero carbon.

14 But I'm concerned about purchases of  
15 hydroelectric power from out of state within the WECC  
16 as counting zero carbon resources or renewable energy  
17 credits from existing resources located in states that  
18 don't have a carbon compliance obligation.

19 Those may count -- be considered as zero  
20 carbon resources and I believe they are for, as I  
21 understand it, for CARB compliance. But they -- you  
22 know -- buying hydro from out of state just transfers  
23 the -- it moves the sort of California count for GHG  
24 generation, reduces that, but it may well increase the  
25 GHG impact of generation out of state within the

1 Western Electricity Coordinating Council footprint.

2           That to me is the major issue that I think  
3 needs to be addressed, will need to be addressed at  
4 this stage and going forward through the whole -- this  
5 whole process, is not -- you know -- is making sure we  
6 count, make sure we understand the full WECC-wide  
7 impact of zero carbon energy and whether or not you're  
8 actually -- what we count as a zero carbon resource  
9 actually is a zero carbon resource across the WECC  
10 footprint.

11           That's really my major observation on these  
12 questions. I'm happy to talk further on the subject if  
13 prompted.

14           MODERATOR SOKOL: Thank you. Dawn.

15           MS. WEISZ: Great. So I have a few comments.  
16 Really appreciate the opportunity to speak on this  
17 topic. Just a couple of comments regarding setting GHG  
18 targets. I think the first point I wanted to highlight  
19 is GHG planning targets really should be implemented in  
20 a manner that utilizes the, you know, existing  
21 structures that are in place.

22           From an efficiency standpoint MCE really  
23 prefers that the CPUC set targets based on emissions  
24 intensity. I think there's a lot of agreement here on  
25 the panel around that, and also consistent with the

1 implementation of AB 1110 at the CEC.

2 I think that those -- the processes need to be  
3 aligned there so that we're coming up with simple  
4 solutions that agree with each other and not multiple  
5 paradigms that might conflict. So I would encourage  
6 alignment on that.

7 I think the benefit of aligning with the AB  
8 1110 implementation process at the CEC is that it would  
9 efficiently produce data that could be used by all  
10 bodies to assess progress towards targets and  
11 performance annually.

12 As you may know, our boards actually have a  
13 planning process now to meet state regulations, and to  
14 replace that with a different process would remove a  
15 lot of the value. CCAs are already doing a lot to  
16 reduce greenhouse gas emissions.

17 And I wanted to, you know, agree with the  
18 comments that Shana made with Communities for a Better  
19 Environment, that states and most disadvantaged  
20 communities are disproportionately impacted by climate  
21 change, and the regulations really need to be a  
22 transparent process that's driven by the community.

23 Our communities have really driven us and our  
24 elected officials to set a portfolio that is 75 percent  
25 greenhouse gas free today. And also, we have a

1 trajectory in our Integrated Resource Plan to be 100  
2 percent greenhouse gas free by 2025, and our low income  
3 communities have been leaders in this effort.

4           The last point I want to make before moving  
5 onto the questions is that in setting targets I think  
6 it's important to keep in mind that CCAs also have  
7 energy efficiency and electric vehicles programs, as  
8 well as local MEM incentives and local low income solar  
9 incentives, and we really viewed RPS as a floor in  
10 determining how much renewables to get into our  
11 portfolio and will likely view any greenhouse gas  
12 targets as a floor, as well.

13           As far as our preference to the -- among the  
14 three options, we have a slight preference for Option  
15 B. We see that really as the most straightforward and  
16 transparent method for determining greenhouse gas  
17 targets for individual LSEs.

18           We think Option B, you know, because it uses  
19 the 2015 IEPR load forecasts, which are also used by  
20 CARB in developing its Scoping Plan, using that same  
21 data source to determine the GHG compliance targets  
22 provides consistency and predictability, and that's  
23 helpful when we're all, you know, going out and doing  
24 our procurement.

25           I think the accounting in Option B really



1 should align with the best practices in the market for  
2 greenhouse gas accounting, and ultimately align with  
3 the CEC process on AB 1110, as I mentioned. And you  
4 know, I think the simple goal of using the intensity --  
5 emissions intensity makes a lot of sense here.

6 I'll say a little bit, there were some  
7 comments about Option C. I have thoughts on A and C,  
8 and I won't go into A unless folks have questions,  
9 because it sounds like no one's really gravitating  
10 towards that one. I see a number of deficiencies on  
11 that.

12 With Option C, you know, I think that there  
13 could be hope for using that as an option, but I think  
14 that the methodology as described thus far is pretty  
15 complicated and would be difficult to implement.

16 I think the methodology is based on old  
17 assumptions about natural gas and other resources that  
18 aren't really accurate today and it's likely to lead to  
19 inaccuracy and potentially illogical outcomes.

20 The other concern I have around Option C is  
21 that it seems to mix up the difference between point  
22 source emitters and retail providers. And I think  
23 that's a really important distinction that needs to be  
24 thought about carefully throughout the conversation  
25 that we're having today, because when you mix those two

1 up you end up with double-counting.

2           CCAs don't own generation yet. You know,  
3 eventually that may be happening. Our reporting is as  
4 a retail provider. We report on the power content  
5 label. We report what our retail greenhouse gas  
6 emissions are using the climate change methodology and  
7 we use the Center for Resource Solutions to verify our  
8 Green E 100 percent renewable products.

9           But we do not -- we are not a point source  
10 emitter. And so we need to be careful that we're not  
11 lumping those two things together as we're developing  
12 guidance here. My other concern is -- with Option C is  
13 that it appears that the methodology would lead to  
14 penalizing entities that have taken early action on  
15 greenhouse gas reductions, and I don't think that  
16 that's an outcome that any of us are looking for.

17           You know, I think I understand and acknowledge  
18 that maybe prior to AB 32 or maybe shortly thereafter,  
19 you know, that some contracts were entered into, long-  
20 term coal contracts, and you know, because of that  
21 there may be a need for some flexibility regarding the  
22 timing of implementing, you know, moving towards the  
23 targets.

24           You know, I think if we give coal a pass,  
25 obviously we're not being honest about greenhouse gas

1 reductions. You know, but if we give those with long-  
2 term contracts lighter treatment up front and then have  
3 a steeper increase as you get closer towards the end of  
4 the target, maybe that would be a way to address the  
5 issue.

6 But I still think there should be incentives  
7 in place for folks to be able to exit those contracts  
8 and make different choices going forward, to the extent  
9 that they're able to.

10 And the last comment I wanted to make is just  
11 to respond to Commissioner Randolph's question from the  
12 last panel about how to track progress towards GHG  
13 goals, because I think that's really important, and  
14 it's important for MCE and I believe for other CCAs to  
15 kind of know ahead of time so that we can procure  
16 according to the outcomes that are expected.

17 I agree with Ray with PG&E and he responded to  
18 that question saying, you know, you can and should be  
19 using the existing structure to see how we're doing and  
20 measure performance. So you've got the CARB MRR  
21 reporting for point source emitters.

22 You've got the RPS for retail suppliers and  
23 then there's also EE reporting. And I think a  
24 consistent accounting protocol is really necessary for  
25 all load-serving entities, and it keeps things simple

1 for CARB, the CEC and the CPUC.

2 MODERATOR SOKOL: All right. Thank you. I  
3 think we heard some good opening comments here that  
4 highlight some of the pros and cons of the different  
5 options. Before we go on into the particular questions  
6 I want to turn it over to the Commissioners if they  
7 have something to add.

8 CHAIRMAN WEISENMILLER: Yeah, I've got a  
9 couple. I mean, first of all, I was going to encourage  
10 everyone and it's probably a homework assignment, to  
11 comment on A, B and C. You know, obviously, you can  
12 take a duck today, but you know, we need in writing  
13 where you stand on it.

14 Other thing is, certainly, I would encourage  
15 NCPA, SCPPA, CMUA, all of you chime in on this  
16 question, and obviously vetting on the others, but on  
17 the non-IRP POU's, you know, just how are we going to  
18 deal with that.

19 And you know, obviously, we're going to need  
20 some adjustment there, and I guess I'm suggesting you  
21 guys propose adjustments so we can start getting a  
22 record on how to handle that, as opposed to just  
23 punting it to us. We'll decide, obviously, one way or  
24 another.

25 There's been a lot of comment back and forth

1 on mass balance energy intensity. I guess I would  
2 also, you know, ask the basic question of, the ARB has  
3 a compliance plan with a clean power plan, and one of  
4 the things which we also have to connect to is that  
5 compliance plan, which again, has certainly certain  
6 features on that sort of tradeoff.

7 And again, that's got to be factored into this  
8 process as we go forward. And last general point for  
9 people is the proverbial, what is CCFS now. Is it a  
10 CCA? Is it a POU? Is it a mixture? But you know,  
11 does it get to participate in both of our processes?  
12 You know, one of the processes? Which one?

13 I mean, again, just trying to clarify things  
14 as we're going forward on where they are going to come.  
15 So but again, sort of thinking back, I mean, you know,  
16 at this point, look, we got a couple of specific POUs  
17 on the panel.

18 What's your suggestions right now, if you have  
19 one, on how to deal with the non-IRP POU?

20 MR. WYNNE: This is Justin Wynne, for CMUA.  
21 So I think the clear point is that there needs to be an  
22 assumption for what the GHG reductions is as far as the  
23 overall target, what is assumed for those utilities and  
24 those need to be netted out.

25 And I think what we were saying earlier is

1 that we need to take the entire electric sector target  
2 and identify all the different elements and make sure  
3 that we're only dividing up the amount that is  
4 attributable to entities with an IRP obligation.

5           And so in that process there'll need to be a  
6 methodology to net those entities out. And I think one  
7 potential option would be whatever the methodology we  
8 use to divide between the POU's, we could use the same  
9 methodology to assign an assumption for the non-IRP  
10 POU's and just use that to net it out.

11           I think the complicating factor is if there  
12 are other entities in the mix I don't know if it  
13 necessarily makes sense, because they may not be  
14 electric utilities in the same sense. So I think in  
15 the exercise of identifying what's in there we could  
16 use the same -- potentially the same methodology could  
17 be used to net them out of -- before there's a  
18 splitting.

19           MR. ZETTEL: My guess is the amount of data  
20 that would be required to figure out the intensity or  
21 the emissions through Option C for them wouldn't be  
22 that much. I know a lot of the non-IRP POU's are either  
23 members of SCPPA or NCPA, and some may be members of  
24 the power pool already.

25           So one concept if we went with an Option 3

1 type concept doing a bottoms up is you could do a quick  
2 bottoms up for them, maybe through a data request, and  
3 then as Justin alluded to, net them out of the IRP  
4 process.

5 CHAIRMAN WEISENMILLER: And obviously, there's  
6 going to be some question about how do we/ARB, track  
7 their compliance over time. So again, whatever the  
8 ultimate goals are going to be, again, trying --  
9 obviously, we're not trying to elevate that to an IRP  
10 process, but just, how do we keep a handle on that.  
11 And again, you can sort of respond now or in writing  
12 later.

13 MR. WYNNE: So I guess my understanding of the  
14 primary purpose of the IRP is that we have these very  
15 difficult to achieve, aggressive targets of greenhouse  
16 gas reduction and RPS and then other elements, and that  
17 we need to make sure that we are taking the actions  
18 now, because there may be long lead times on the  
19 actions we're needing to take.

20 And so this exercise is making sure that we're  
21 taking the actions now to meet those long-term targets,  
22 not to insure compliance. We'll insure compliance with  
23 the target through the plan that ARB sets out, and so  
24 particularly for these smaller utilities.

25 Some of them are tiny. I don't think the IRP

1 process is necessary to insure compliance with the GHG  
2 reductions.

3 CHAIRMAN WEISENMILLER: No. That's why I got  
4 --

5 MR. WYNNE: Okay.

6 CHAIRMAN WEISENMILLER: -- it pulled out of  
7 the legislation on the IRP part. So we don't -- not  
8 arguing about that. I'm just saying, how do we have  
9 something other than non-IRP process to address them.

10 MR. TUTT: Well, Chair Weisenmiller, in terms  
11 of some of the particular goals what were put into SB  
12 350 for the IRP obligated utilities, these smaller POU's  
13 are involved in RPS compliance. So you can track that  
14 through that process.

15 They are involved in, to the extent they have  
16 resources that emit carbon, they're involved in MRR  
17 compliance. You can track that through there. I don't  
18 see necessarily a need to set up another mechanism,  
19 other than those two and IEPR, to keep monitoring those  
20 smaller utilities.

21 CHAIRMAN WEISENMILLER: Okay. But actually,  
22 let's rip to the heart of the question. There's been a  
23 lot of discussion here about, you know, how do you  
24 recognize that some entities would move faster than  
25 others when we get into the allocation?



1           Now, that's a huge issue between the IOUs and  
2 POUs, you know, I mean, when you look at it. So again,  
3 how -- so you know, obviously, Redding's taken action,  
4 but I mean, Edison, you know, sort of got rid of its  
5 coal plants long ago, if -- you know.

6           So and some entities like SMUD didn't really  
7 get into coal plants. So again, you know, how do we  
8 sort of deal with that sort of in that allocation  
9 between IOUs and POUs that the IOUs are probably  
10 cleaner by most standards than the POUs are at this  
11 stage.

12           MR. WYNNE: And I think part of my response to  
13 that would be, it depends on the question I was asking  
14 earlier about the purpose of this splitting exercise,  
15 because if this has no relation to the entity-specific  
16 target setting aspect, then I think one of the things  
17 we would need to do is just run the numbers and see  
18 what the actual split is, because when we're looking  
19 between Option B, Option C and maybe other options it's  
20 hard to take what's been presented and put it into real  
21 world numbers.

22           And so I think one of the -- before we can get  
23 into whether it's appropriately balancing between the  
24 POUs as a group and recognizing the different starting  
25 points, I think we need to understand how this decision

1 fits into the next, the Step 3 that will be done  
2 separately, because if it is just standalone and it has  
3 no impact, then I think that it's maybe a simpler  
4 question.

5 CHAIRMAN WEISENMILLER: You probably in your  
6 comments should make some -- state your position on  
7 Step 3. Anyone else?

8 MR. TUTT: Well, I guess what I would say is a  
9 lot of us supported Option C, which involves a bottoms  
10 up kind of calculation and an estimation of individual  
11 -- it's starting with individual obligated utilities,  
12 or LSEs or POU, presumably, to get to the bottoms up  
13 structure.

14 And there's certainly going to be ways to take  
15 into account early action and differences amongst the  
16 POU and IOU in that bottoms up process. I don't  
17 think, like, that necessarily then leads to a need to,  
18 one, divide up between IOUs and the POU as groups,  
19 because you're already doing a bottoms up to look at  
20 each individual entity's range.

21 And I guess I'd say I don't think that there's  
22 necessarily a need or a requirement that all of these  
23 individual targets, however they're structured, add up  
24 to the electric sector target, where there's a bunch of  
25 other entities.

1           As Justin has mentioned, the smaller POU's and  
2 other water contractors that are part of that electric  
3 sector target perhaps. They don't -- you know -- the  
4 individual things don't need to add up to the total.  
5 We can keep track of it all, understanding that there's  
6 some little bit that's left over.

7           MODERATOR SOKOL: Okay. So we have about 10  
8 minutes left. If the Commissioners have any other  
9 questions we can defer to them or we can run through  
10 some that we have here.

11           COMMISSIONER RANDOLPH: No, I don't have any  
12 questions. Do we want to start public comment now, or  
13 do we want to finish this panel by 12:30? What's your  
14 time line?

15           MODERATOR SOKOL: Yeah. I think we'll finish  
16 in just a few minutes.

17           COMMISSIONER RANDOLPH: Okay.

18           MODERATOR SOKOL: And then we can go to the  
19 public comments.

20           COMMISSIONER RANDOLPH: Okay.

21           MODERATOR SOKOL: I just wanted to highlight,  
22 as the Chair said -- oh, Commissioner.

23           COMMISSIONER SCOTT: Yeah. I did have one  
24 more, maybe it's not necessarily a question, but  
25 potentially an observation here for folks to think

1 about on the -- I think on the math balance intensity  
2 question, and I was kind of reflecting on what  
3 President Picker opened the meeting with, and really,  
4 where we're trying to go is it actually is a number of  
5 greenhouse gas emissions in the atmosphere that we need  
6 to meet, because otherwise we won't be solving the  
7 problem.

8           And how do we kind of keep that overarching  
9 goal in mind if we're thinking about trying to use a  
10 greenhouse gas intensity measure? So I don't -- I'll  
11 let Michael ask some questions, but that's just  
12 something we should -- I'd like for us to keep in mind,  
13 especially as you put your comments together that you  
14 give back to us. Thanks.

15           MODERATOR SOKOL: So does anyone want to take  
16 a stab at answering that now? And if not, we can --

17           CHAIRMAN WEISENMILLER: Or actually, if anyone  
18 -- I was going to ask Rajinder if she has a comment on  
19 that tradeoff.

20           MODERATOR SOKOL: Sure.

21           MS. SAHOTA: So being a state agency, we like  
22 consistency and we have mass targets for the state and  
23 the CPP has mass targets in the proposed Compliance  
24 Plan. But we also recognize that an intensity target  
25 can provide some flexibility, and I think we need to

1 carefully work through the amount of flexibility and  
2 the appropriate flexibility that is required in this  
3 process, and whether or not a mass-based target or a  
4 flexibility intensity-based target is the right  
5 approach.

6           So I don't think we have a position for the  
7 IRP process. We like consistency in state programs,  
8 but we are recognizing that each individual entity  
9 serves a very different mix. The demands are going to  
10 grow very differently for loads in these regions and  
11 there has to be some way to recognize and account for  
12 that.

13           MODERATOR SOKOL: Okay. So again, I just want  
14 to highlight what the Chair mentioned, that we really  
15 could use some written comments to fill in this  
16 conversation here, which has been a very good start to  
17 this.

18           And I also wanted to highlight that the  
19 questions you see here are really summary level, but  
20 the options paper highlights in more detail the  
21 specific questions that we would hope you respond to in  
22 your written comments.

23           And again, so I want to go ahead and thank all  
24 the panelists for participating here, and I think at  
25 this point we can go ahead and open it up for public

1 comments in just a moment.

2 CHAIRMAN WEISENMILLER: Great. Thanks again.

3 MS. RAITT: So if anyone did want to make  
4 public comments in the room, go ahead and fill out a  
5 blue card and give it to our Public Adviser in the  
6 back.

7 (Pause)

8 MS. RAITT: Sounds like, so far, I'm not aware  
9 of any blue cards and I'm not aware of anybody on WebEx  
10 that has raised their hand to make a comment. Sounds  
11 like we don't have any public comments.

12 CHAIRMAN WEISENMILLER: We -- she's coming up  
13 with one blue card, I believe.

14 MS. RAITT: Okay.

15 CHAIRMAN WEISENMILLER: So why don't we call.  
16 Great. So why don't you go introduce yourself and give  
17 your -- to the Court Reporter and go ahead.

18 MR. HENDRY: Good afternoon. My name's James  
19 Hendry. I'm with the San Francisco Public Utilities  
20 Commission. I just wanted to respond to your question,  
21 Chairman Weisenmiller, about what the San Francisco  
22 was.

23 And I think for purposes of this and most  
24 other proceedings, really, the Clean Power with San  
25 Francisco, and San Francisco is a publicly owned

1 utility, really should be considered as two separate  
2 entities.

3           They're under completely different  
4 jurisdictional rules and different sets of rules and  
5 you really can't, you know, sort of combine the two,  
6 really. So really, it's kind of two separate rules.  
7 Being involved in \*16:19:44 each side, that means it's  
8 twice as much work for us, but I think that's the point  
9 of it.

10           And in terms of our internal accounting, we're  
11 also trying to make sure that separation's there, just  
12 as we don't want our captive customers subsidizing our  
13 Community Choice Program, we also don't want it the  
14 other way around.

15           So I think they're kind of like two separate  
16 programs and they need to be treated that way for  
17 jurisdictional issues. So thank you. I just wanted to  
18 clarify that.

19           CHAIRMAN WEISENMILLER: That'd be great. I  
20 guess the one question is, obviously, we have a series  
21 of questions were asked, other broad questions we're  
22 asking for responses to. And again, obviously, you get  
23 to decide whether you have one or two responses to  
24 those, but certainly hoping that both parts, you know,  
25 can, you know participate fully in this discussion.

1           MR. HENDRY: Right. We'll coordinate. We're  
2 going to address it both as -- on both sides of the  
3 issue, yes.

4           CHAIRMAN WEISENMILLER: Okay. Great. Thanks.  
5 Anything else? No one in the room? Anyone on the  
6 line? Okay. So this meeting is adjourned. I'll just  
7 say, I'll certainly ask Commissioner Randolph if she  
8 wants the last word on anything.

9           COMMISSIONER RANDOLPH: I don't have any  
10 further comments. This was a really useful discussion.  
11 So thank you.

12          CHAIRMAN WEISENMILLER: So again, thanks. And  
13 could you remind people when public comments are due?

14          MS. RAITT: Right. So for the IEPR process  
15 period the comments are due March 9th, and information  
16 on how to submit comments is in the notice, and there's  
17 also information if you wanted to submit informal  
18 comments to the CPUC process is also in the notice  
19 that's at the table and the Energy Commission's  
20 website. Thanks.

21          (Adjourned at 12:28 p.m.)

22

23

24

25




**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of March, 2017.



---


Kent Odell  
CER\*\*00548

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of March, 2017.



---

Barbara Little  
Certified Transcriber  
AAERT No. CET\*\*D-520