

DOCKETED

Docket Number:	17-IEPR-07
Project Title:	Integrated Resource Planning
TN #:	217504
Document Title:	Transcript of 04/27/2017 IEPR Commissioner Workshop on Integrated Resource Plans Medium and Heavy-Duty Vehicle Sector
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	5/9/2017 10:45:40 AM
Docketed Date:	5/9/2017

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the Matter of:) Docket No. 17-IEPR-07
)
2015 Integrated Energy Policy) Integrated Resource
Report (2017 IEPR)) Planning

IEPR Commissioner Workshop on
Integrated Resource Plans
Medium and Heavy-Duty Vehicle Sector

CALIFORNIA ENERGY COMMISSION
HEARING ROOM A, 1516 NINTH STREET
ART ROSENFELD HEARING ROOM
SACRAMENTO, CALIFORNIA

THURSDAY, APRIL 27, 2017
1:13 P.M.

Reported by:
Peter Petty

APPEARANCES

CEC

Commissioners Present

Robert B. Weisenmiller, Chair, Lead Commissioner
Janea A. Scott, Commissioner, Transportation

CEC Staff Present

Heather Raitt, CEC, IEPR Program Manager
Noel Crisostomo
Tim Olson

Presenters

Naveen Berry, SCAQMD
Tony Brazil, CARB
Eric Seilo, SCE
Chay Thao, SJVAPCD

Panelists

Adenike Adeyeye, EarthJustice
Kanok Boriboonsomsin, UC Riverside
Chris Cannon, Port of Los Angeles
Hannah Goldsmith, CalETC
Fran Inman, CTC
Barry Moline, CMUA
Marvin Moon, LADWP
Bill Van Amburg, CALSTART
Lowell Watros, Redding Electric Utility
Bill Westerfield, SMUD

Public Comment

1. Lisa McGhee, San Diego Airport Parking Co.
2. McKinley Addy, AdTRA
3. Matt Williams, CARB

I N D E X

	Page
Introduction and Overview	
Ms. Heather Raitt	4
- Purpose of the Workshop	
- Expected structure for the day	
- Brief overview and background on past activities	
- Public comments and stakeholder interaction	
Opening Remarks	
Chair Robert B. Weisenmiller - CEC	5
Commissioner Janea A. Scott - CEC	7
Policy Context and Overview	
Tony Brazil, California Air Resources Board	7
Large Utility Perspective on Planning for and Deploying Infrastructure	
Eric Seilo, Southern California Edison	48
POUs' Responses to Draft Transportation Electrification Guidance for POUs	
Noel Crisostomo, Energy Commission, Moderator	64
Stakeholder Perspectives on the Adequacy of Data Collected in the POU IRP TE Guidance	
Tim Olson, Energy Commission Moderator	109
Public Comments	163
Closing Remarks	173
Adjournment	174
Reporter's Certificate	175
Transcriber's Certificate	176

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

APRIL 27, 2017 1:13 p.m.

MS. RAITT: -- everybody for your patience.
Good afternoon. Welcome to today's IEPR's Workshop
on Publicly-Owned Utility Integrated Resource Plans
for Transportation Electrification for Medium and
Heavy-Duty Vehicle Sector.

I'm Heather Raitt. I'm the Program Manager
for the IEPR. I'll quickly go over housekeeping
items. If there's an emergency and we need to
evacuate the building, please follow Staff to
Roosevelt Park, which is across the street diagonal
to the building.

Also, please be aware that we are being
broadcast through our WebEx Conferencing System, and
so parties are being recorded. We'll post an audio
recording in about a week and a transcript in about a
month.

We do have a very full Agenda today. So I'd
like to remind our presenters, please stay within
your allotted speaking times, and try not to be too
obtrusive, but we will give you reminders about
timing.

And we will have an opportunity at the end
of the day to do public comments, and parties are

1 limited to three minutes per speaker. Go ahead and
2 fill out a blue card, which is at the entrance, and
3 you could give it to me or the Public Adviser there,
4 Rene. Thank you.

5 And for those on WebEx who'd like to make
6 comments, just raise your hand and let our WebEx
7 Coordinator know you'd like to comment. Materials
8 are available at the entrance to the hearing room and
9 posted on our website, and written comments for
10 today's Workshop are due on May 19th.

11 I just wanted to make sure people are aware
12 of that. That's an extension from the original due
13 date of May 5th for this Workshop. The Energy
14 Commission put out a notice earlier this week
15 extending the comment period for both this Workshop
16 and the workshop on April 18th, both related to the
17 IRP transportation issues.

18 The notice explains how to submit written
19 comments, and with that I'll turn it over to Chair
20 Weisenmiller for opening remarks. Thank you.

21 CHAIRMAN WEISENMILLER: Thank you. I'd like
22 to thank everyone for being here today, and welcome
23 you to the I'm going to say in some respects the
24 second part of the conversation we started on
25 Transportation Electrification.

1 And you know, this is a very important topic
2 for us. You know, if you look at greenhouse gas
3 emissions in the state it's about 40 percent comes
4 from the transportation sector. If you look at air
5 pollution, again, it's a very large number. It's
6 more like 80 percent.

7 And at the same time, when you look at our
8 economy, particularly in Southern California, a lot
9 of our economy is built around goods movement. You
10 know, that's 20 to 30 percent of the economy there.
11 So we really need to figure out a way to address the
12 pollution from transportation, and certainly,
13 electrification is one way.

14 The other part of it is just, you know, when
15 you look at the scientific side, certainly, the south
16 coast has done more than a few. We're really talking
17 about right around the freeways, you know, is where a
18 lot of -- you know -- if you live close enough to
19 freeways there's a pretty significant chance your
20 children are going to get asthma.

21 So again, there's real public health
22 benefits of this electrification, but we need to do
23 it in a way that really helps us drive forward on the
24 economy and -- down there. So again, really looking
25 forward to the conversation today.

1 I was looking at the earlier one on light-
2 duty. Now, we're looking more at medium and heavy-
3 duty vehicles. Commissioner Scott.

4 COMMISSIONER SCOTT: I will just say good
5 afternoon and welcome. I didn't have a chance to
6 hear all of the Chair's comments, but I'm sure that I
7 echo them, as well, and I'm looking forward to our
8 medium-duty and heavy-duty electrification discussion
9 today.

10 MS. RAITT: Great. So our first speaker is
11 Tony Brazil, from the California Air Resources Board.

12 MR. BRAZIL: Thank you for the opportunity
13 to be here. I know that you cover a number of these
14 topics. I do have some slides for the record. I
15 will skim over to save time. My name is Tony Brazil.
16 I am the Chief of the Transportation and Clean
17 Technology Branch.

18 Our focus is on heavy-duty regulatory
19 policies. Well, I'm representing the division where
20 we do have funding policies. I'll try to cover some
21 topics that I think are relevant to the discussion
22 today.

23 First slide, please. This is background and
24 I think you've pretty much kind of touched on some of
25 the topics. We have a number of goals to meet and

1 Transportation Electrification is part of that.
2 Traffic congestion and other things are things we're
3 trying to address, as well.

4 Next slide, please. This simply lays out
5 the targets that we have to meet and that we're
6 focused on. And I think the point here is there are
7 multiple sectors, different ways to address it. And
8 Transportation Electrification is clearly part of
9 that plan, and so we do have a number of programs to
10 further the market, including regulatory strategies
11 that we'll cover momentarily.

12 Next slide, please. So this might look a
13 little familiar to you. You probably saw it on the
14 light-duty discussion. All the reasons that we need
15 medium and heavy-duty Transportation Electrification
16 are very similar to what we need for light-duty.

17 So we're really echoing many of the same
18 points. So I'm not going to go over them in the
19 greatest detail, but again, the reductions we get
20 from the transportation for light-duty and heavy-duty
21 fuel displacement, and whether it's heavy-duty or
22 light-duty, are all achieving similar goals.

23 And we're looking for, again, the trifecta
24 of emission benefits in modifying the way our
25 transportation energy is used. And so we are looking

1 to leverage a number of programs, and we've been
2 obviously participating here, working with the PUC
3 and others to align our policies.

4 Next slide, please. And this is simply a
5 graphic image of the various items that are
6 ultimately interrelated that I'm sure you're familiar
7 with. Next slide.

8 And for a little bit of background on our
9 sustainable freight strategy, we've established some
10 targets of 100,000 zero emission vehicles and
11 equipment in the freight sector by the 2030 time
12 frame. As part of our regulatory structure and
13 funding policy we are looking to meet -- have the
14 best strategies to be able to meet those kinds of
15 targets.

16 Next slide. So zero emission vehicles, a
17 key role is that they do have high vehicle
18 efficiency. We actually have some new information
19 that's I think relevant about the efficiency gains
20 data. I will have some detail here.

21 And obviously, you do recognize the grid
22 benefits associated with it. So I will focus on the
23 three regulatory efforts that are actually underway
24 at this time to provide you a little bit of
25 background on what we're doing there.

1 Next slide. And I do want to touch on some
2 overlay issues that do relate to and actually bring
3 forward the data information that I was referring to.
4 So next slide, please.

5 The low carbon fuel standards are fuel
6 policy to encourage the use of low carbon fuels, and
7 that program does provide a direct financial benefit
8 to users who use electricity as a transportation
9 fuel.

10 The efficiency ratings that are used for
11 that establish how many credits you receive and
12 improve the payback for a vehicle. It's a
13 straightforward process. It benefits directly the
14 fleet owner. They receive the credits. They can
15 sell the credits. A little bit different than how
16 light-duty works in this arena.

17 Next slide. Because we were looking at
18 updating the regulations and the programs being
19 updated, we actually found -- we found more recent
20 data on apples to apples comparisons of drayage
21 trucks, buses, partial delivery trucks operated on
22 test cycles that were electric vehicle and a
23 comparable diesel vehicle to look at how those
24 efficiencies might be different among all the
25 categories.

1 We even had some in-use data and found that
2 we have very similar results. On the next slide I
3 think you'll have the graphic representation. So
4 what this shows is that if you know the average speed
5 of your operation of your vehicle and your fuel
6 consumption, the efficiency of an electric vehicle
7 compared to it actually gets better at lower speeds.

8 And the explanation is simply that as you
9 operate in a stop and go operation you have a lot
10 more idling, a lot more coasting. Internal
11 combustion engines continue to use fuel, where
12 electric vehicles don't. Plus, the regenerative
13 braking and other things provide you benefits.

14 So what we thought -- we were surprised
15 about is that the relationship is very strong,
16 regardless of the vehicle's size. This applies to
17 12-passenger vans, smaller, partial-delivery trucks,
18 drayage trucks and buses that are heavy-duty Class 8.

19 And the other point I wanted to bring to
20 your attention is on the bottom left, are the little
21 arrows and the types of trucks. If you have a trash
22 truck, a delivery van, an urban bus, a yard truck,
23 they're all in that category of 13-mile per hour
24 averages or lower, or a high percentage of them.

25 And so the efficiencies -- well, the efficiency

1 ratios that you see are higher than what we've used
2 in the past. Next slide kind of provides a summary
3 of what the implications of this are. First, it
4 seems to be universal for all weight classes.

5 Second, the GHG emission benefits for trucks
6 would in essence be nearly twice as high as what we
7 have previously used in our estimates. I think
8 that's a substantial finding. This paper is
9 available for comment.

10 We are seeking in feedback and if there's
11 additional data we will update that, but we do expect
12 it to be reflected in our Scoping Plan, LCFS policies
13 going forward. It also actually provides a better
14 comparison of electricity to diesel fuel use in this
15 example, because frequently, people compare a vehicle
16 operation -- stop-and-go operation to a vehicle
17 operated on the freeway, and that's not an actual,
18 valid comparison. So this actually makes it easier
19 to be able to do that analysis for a range of items.

20 So next slide, please. So not to get into
21 the regulations. We are working on an innovative
22 clean transit regulation. We've been at this for a
23 number of years now, working closely with the transit
24 agencies to deploy zero emission buses, enhance
25 mobility, incorporate shared mobility.

1 And the end goal is to have an entire zero
2 emission passenger transportation by the 2040 time
3 frame. We do believe that's feasible. We're trying
4 to find what's the best way to do that and how to
5 achieve that, and obviously, electrification of both
6 light-duty and heavy-duty is part of that.

7 Next slide, please. Zero emission buses are
8 further ahead in terms of market commercialization
9 than trucks. I do want to provide a little bit of
10 hindsight there. There are now more zero emission
11 bus manufacturers than there are conventional bus
12 manufacturers.

13 A number of them are locating here in
14 California and bringing manufacturing jobs, as well,
15 which is a positive and doesn't frequently happen
16 with the standards of a proven place for engine
17 manufacturers.

18 Buses are now available in a wide range of
19 categories and types, double-deckers, commuter-type
20 buses, transit buses. Recently, some shuttle buses
21 have become available and there's overlap of the
22 shuttle buses and other types of trucks.

23 Fuel cell electric buses do have similar
24 range to conventional buses and a number are being
25 operated and deployed, as well. These successes

1 we're seeing here, including training and other
2 educational items that transit agencies are leading,
3 will ultimately benefit other heavy-duty sectors.

4 Next slide, please. This is a graphic image
5 of the buses that are operating in California, as
6 well as how many are on order. So on the bottom left
7 there's 109 transit buses and some shuttle vans that
8 are zero emission that are operating in California
9 right now.

10 There's more than 240 -- or there are 241
11 that are currently with firm orders. It's just a
12 matter of having them delivered. So we should have
13 about 350 on the road in the next year or so. And so
14 this graphically shows the different agencies, and
15 the little stars, which is kind of hard to see here,
16 a number of agencies and colleges have committed to
17 full electrification.

18 UC Riverside will be all electric and one
19 fuel cell bus by 2018. Antelope Valley Transit has
20 85 buses. They will be done by 2018 and Foothill
21 Transit has committed to a transition by the 2030
22 time frame. And many others are stepping forward,
23 including in disadvantaged communities in Central
24 Valley.

25 Next slide. And I already touched on the

1 curriculum. I think the most important part of this
2 one is the transit fleets have developed curriculum
3 for training mechanics, drivers, maintenance
4 personnel on how to maintain these types of vehicles.
5 We think there will be synergies with heavy-duty, as
6 well, and off-road.

7 Next slide, please. And the Advanced Clean
8 Local Truck Regulation is our regulatory effort to
9 require truck manufacturers to produce zero emission
10 trucks. We kicked off that effort in November; had a
11 workshop just recently this week.

12 Our focus is because the efficiency gains
13 are higher, vehicle costs would tend to be lower. We
14 do expect there to be centrally fuel fleets,
15 primarily at the early markets. We're targeting
16 local truck operation, lower risk in the early years.

17 And the market is -- a number of
18 manufacturers are stepping into the market here and
19 in Europe and other places. So we do see that
20 putting requirements in place and providing a clear
21 market signal is a key part of the strategy that is
22 one of the reasons we do regulations. So we're on
23 track to have it considered by our board next year.

24 Next slide, please. And this is just a
25 little bit of background on what's happening.

1 Mitsubishi Fuso is a major truck manufacturer.
2 They're bringing an all electric truck to market.
3 They're bringing 100 to California this year. They
4 expect it to be fully commercial by 2019.

5 Workhorse Group has an innovative strategy.
6 They are bringing a range extended, battery electric
7 pickup truck to market for the Class 2a category for
8 commercial use. It effectively does 80 miles on
9 battery power and then uses the light-duty BMW I-3
10 generator to extend range, or the IA generator to
11 extend range.

12 UPS has been operating that exact platform
13 in their package delivery trucks for at least a year
14 for about 60 trucks. They seem to be pretty
15 satisfied because they ordered at least 200 to 300
16 more already.

17 So we're seeing that the opportunities there
18 are great, and when we've spoken to them they seem to
19 be -- see that it has a quite favorable and roughly a
20 two-to three-year payback without incentives for a
21 truck like that.

22 So the potential for that market to grow
23 rapidly is pretty large. And then there are a number
24 of other manufacturers in the market. BYD, who
25 manufactures buses is expanding into trucks. And so

1 we show the logos there of the number that are out
2 there.

3 Next slide. And then lastly, we are also
4 working directly with the airports on strategies to
5 incorporate more zero emission vehicles and equipment
6 for parking lot shuttles, rental car shuttles and
7 also airport ground support equipment, as part of the
8 strategy to off road, on road.

9 One of the things in working with these
10 regulations, the questions do come up frequently of,
11 hey, we want to be able to charge trucks and buses
12 and cars all at the same place. It does present an
13 interesting question in terms of how things are
14 handled.

15 But there's a lot of interplay. One of the
16 things that's evident in UPS trucks and some of the
17 others, they do use level one light-duty chargers to
18 charge their vehicles. So there's clear overlap.
19 Heavier vehicles, of course, are generally going to
20 use larger chargers.

21 Next slide. So this is really more for
22 background for -- we have incentive programs in place
23 that gives us the direct to the fleet purchaser where
24 they can get a rebate on vehicles with different
25 categories.

1 People who don't know about it should learn
2 about if they're interested in looking at lowering
3 their emissions and facilitating the process here of
4 the transition.

5 Next slide. And then -- and this is just a
6 little bit of background that funding that ARB has
7 recently provided. I think that probably we'll cover
8 it in other areas, but greenhouse gas reduction funds
9 have been used to deploy more zero emission buses,
10 trucks and other innovative vehicles that have the
11 potential be either full electric or partial electric
12 vehicles in multiple categories.

13 Drayage trucks are obviously an area of
14 focus for many of the reasons you mention, on
15 freeways and ports and all those obvious reasons, but
16 also, innovative technologies that push the envelope
17 as to what's already being done in the market to spur
18 additional information. We will be collecting data
19 on every one of those operational information. So
20 that should help inform future decisions and
21 information, as well.

22 Next. And then lastly, you know, heavy-duty
23 electrification really does contribute to the same as
24 light-duty. There is a bit of overlap, including in
25 the infrastructure that is used to charge smaller

1 trucks up to Class 6.

2 And to kind of put that in context, if a car
3 might use 400 gallons of fuel in a year, the same
4 charger could be used to charge a UPS truck and that
5 would displace 2,000 to 2500 gallons a year of
6 gasoline.

7 So relatively speaking, it's worth
8 considering for a bus or a drayage truck. We are
9 focused on centralized, heavy-duty fleets, and those
10 examples are using on the order of 10,000 gallons a
11 year. So of course, the EVSC and other things would
12 be more costly, but it's a pretty big fuel
13 displacement associated with that and associated GHG
14 emission reductions.

15 So hopefully, I conveyed that the heavy-duty
16 market is started to -- economics are starting to
17 improve. In buses, we see that it is cost-
18 competitive in some applications, some uses. As
19 costs come down, as manufacturers increase volume, we
20 do expect that the economics will improve widely so
21 that these will be self-sustaining markets that will
22 not need incentives or other support over time.

23 And so ultimately, you know, we are trying
24 to play our part and trying to coordinate a range of
25 strategies. And support and melding elements in

1 terms of regulatory and Transportation
2 Electrification policies ultimately need work
3 together to provide that clear market signal so that
4 manufacturers do make the investments and fleets take
5 the time to learn and take some risks with new
6 technology, as well. So thank you very much.

7 MS. RAITT: Thanks, Tony. So our next
8 speaker is Naveen Berry, from the South Coast Air
9 Quality Management District.

10 MR. BERRY: Tony's a little bit taller.
11 Good afternoon. Naveen Berry. I'm the Technology
12 Demonstration Manager with the South Coast Air
13 Quality Management District, and I'll give you a
14 brief overview of our programs and what drives us,
15 which is basically the Air Quality Management Plan.

16 So the next slide, please. I'm not going to
17 beat this to death, but basically, 44 percent of the
18 state's population in our four-county region, and a
19 lot of -- next slide, please -- and translates into
20 this kind of a hazy muck.

21 And I actually took some photos from the
22 airplane today and it was a beautiful inversion
23 layer. I just wanted everybody to note that it was
24 nice, brown haze. Next slide, please. This slide
25 just basically depicts what happens between the

1 morning time and the afternoon.

2 And I'll just draw your attention to the
3 purple chart, which is basically where most of our
4 ozone non-attainment occurs -- and if you'd just push
5 it one more time it should circulate -- and that's
6 the area of our focus.

7 And most of the emissions don't occur
8 necessarily in that area. They occur in and around
9 the ports where it's nice and green most of the day,
10 other than the localized emission issues, and EJ
11 community issues. But really, when we focus on ozone
12 it's really in the Inland Empire, and the Santa
13 Clarita Valley.

14 Next slide, please. This chart just
15 basically summarizes our emissions inventory. As you
16 can see, the bulk of our NOx emission reductions
17 needed are from the heavy-duty diesel trucks and off
18 road equipment.

19 So a lot of my presentation is going to
20 focus on that. Nonetheless, the South Coast Air
21 Quality Management District continues to focus on
22 battery electric and plug-in electric technology for
23 light-duty vehicles, medium-duty trucks, such as UPS
24 and shuttle buses, as well as many, many other areas.

25 Next slide, please. So basically, the previous

1 slide indicated that we need 43 emission reductions
2 by 2023, and an additional 55 percent reduction in
3 NOx, and the South Coast Air Quality Management
4 District feels that a strong part of that has to come
5 from full electrification or zero emission vehicles.

6 And towards that we did a three-year effort
7 on our recently-adopted 2016 AQMP, and basically, for
8 us to be able to achieve the 75 PPB 2008 level for
9 ozone we need those cumulative emission reductions
10 that I just spoke about.

11 This particular plan is a little bit
12 different than what we had done in the past. It's
13 very NOx dominant. I think the Chair hit it almost
14 on the head. In the south coast 88 percent of our
15 NOx emissions are from multiple sources, both on road
16 and off road.

17 So that's a pretty significant area.
18 Therefore, our Air Quality Management Plan is very
19 much aligned with the Air Resources Board's mobile
20 source strategy and sustainable freight plan, and
21 many of the other areas that Tony just talked about.
22 So I won't go into those details.

23 But really, where there's that 12 percent of
24 NOx emission from stationary sources, South Coast is
25 going to continue to put effort into those to, again,

1 do further electrification of small boilers and other
2 combustion equipment that may create NOx emissions.
3 So we're continuing to look at that aspect.

4 And then the other key change in this last
5 AQMP relies on incentive, having the incentive monies
6 be available. And I just listed a few, Prop 1b, Carl
7 Moyer, and then of course, a lot of my work leverages
8 funds from the California Air Resources Board, the
9 CEC's AB 118 funds, as well as funds that we get from
10 USEPA and Department of Energy.

11 Next slide, please. I'm not going to get
12 into all of them, but the next three or four slides
13 list out some key control measures that are mobile
14 source related. And all of those will have elements
15 of electrification.

16 So emission reductions at commercial marine
17 ports will have hopefully -- and I'll get into some
18 of those projects -- yard hustlers that are plug-in,
19 or rubber tire gantry cranes or top haulers that are
20 electric. So all of these areas and all the
21 controlled measures have elements of Transportation
22 Electrification built into them.

23 Next slide, please. And I'm just listing a
24 whole slew where we I think covered every type of
25 self-propelled vehicle out there. And when we say

1 accelerated penetration, we mean through incentive
2 monies to turn those vehicles over.

3 And the AQMP focuses on a variety of
4 different technologies. We've worked very closely
5 with the California Energy Commission Staff on near
6 zero engines, renewable fuel sources, and then of
7 course, the battery electric and fuel cell
8 technologies.

9 Next slide, please. This slide just
10 summarizes some of the other kind of broader programs
11 we look at where credit generation can occur or
12 credit trading can occur, or, additional emission
13 reductions that can be had through incentive programs
14 before they become formal requirements are also part
15 of our strategy.

16 Next slide, please. Now, I'm going to
17 transition into what we've done to gain confidence
18 that the Air Quality Management Plan that's been
19 adopted is indeed going to be implemented and get us
20 the emission reductions that we're seeking.

21 So about 20 years ago the Legislature
22 created the Clean Fuels Fund and we use on average
23 about \$12½ million a year for research development,
24 demonstration and deployment projects. And again, as
25 I indicated, we leverage funds that are available

1 from our sister state agencies, as well as our
2 federal agencies.

3 Next slide, please. So this slide just
4 indicates a funding allocation that took place
5 recently. Our Governing Board approved this in
6 March, and I just want to point out that zero
7 emission technologies or the fuel cell technologies,
8 and the electric and hybrid technologies make up more
9 than 50 percent of that funding allocation.

10 There's a lot of overlap there. We're
11 looking at plug-in, fuel cell heavy-duty vehicles, as
12 well. So I wanted to kind of make that point. And
13 then we're going to continue to look at engine
14 systems for both gaseous and liquid fuel near zero
15 engines, because in certain sectors, interstate
16 commerce, long-haul application, those are going to
17 still continue to play a significant role.

18 Next slide, please. This kind of captures
19 our overall program on what we think zero emission
20 truck demonstrations will really achieve. And as I
21 indicated, our goal is to engage large truck,
22 original equipment manufacturers.

23 We think that's key to scalability in
24 getting more and more of these vehicles out there
25 with some greater level of shakedown testing before

1 they're implemented, and I'll share some of those
2 with you in the next few slides.

3 Next slide, please. This is kind of a
4 summary portfolio of truck projects, heavy-duty truck
5 projects that we have. And as you can see, the
6 bottom line is 64 of those. All of those have
7 elements of Transportation Electrification.

8 Either they're direct battery electric only,
9 and many of those are already in actual, realtime
10 demonstration at dray service, at the ports. There's
11 the plug-in hybrid electrics that have some type of
12 auxiliary power unit.

13 It could be a fuel cell. It could be a
14 alternative fuel, internal combustion engine or a
15 diesel engine. One thing they all have in common is
16 all-electric range. So those vehicles can go through
17 some environmentally sensitive communities and
18 operate on all electric range, and reduce those
19 localized impacts that occur from, you know, standard
20 or typical diesel exhaust.

21 Next slide, please. This is just one
22 example of a DOE funded program that we have, where
23 we have 18 trucks, again, a mix of battery electric,
24 fuel cell electric and plug-in hybrid electrics.
25 They all, for the most part, have plug-in capability.

1 So they have all electric range, and then
2 the auxiliary power unit allows them to have a much
3 greater range. And as you can see in the top, you
4 know, we're estimating about 100 mile on the upper,
5 and on the battery electrics, up to 200 on the fuel
6 cell electrics and a little bit more than that for
7 the plug-in hybrid electrics. So we're looking at a
8 variety of different approaches to zero emissions.

9 Next slide, please. This particular project
10 is not your traditional Transportation
11 Electrification. This is a overhead catenary system.
12 You know, nothing new. We've seen them in the U.S.
13 and in Europe for more than 100 years.

14 Really, the novelty is to apply them to
15 Class A trucks, where a pantograph comes up and at
16 full speed they can connect onto the pantograph and
17 operate in zero emission mode. We're hoping to get
18 this project started in the very near future.

19 As you can see, we've had funding partners
20 from a broad range of groups, including the ports.
21 We're also working very closely with Southern
22 California Edison on doing assessments as to how
23 growth of this type of a traction system or a power
24 supply need is going to be incorporated into their
25 long-term planning efforts. So they are key partners

1 on that ancillary aspect, as well.

2 Next slide, please. This is what Tony
3 touched on. The South Coast AQMD received a award
4 from Air Resources Board on the California Climate
5 Investments Fund for 43 battery electric or plug-in
6 hybrid electric trucks with all electric range.

7 And as you can see, we've captured a large
8 market share of the truck OEMs, and then BYD is
9 expanding from buses to also providing trucks for
10 this particular project. And this particular project
11 was really unique, as well, because it not only is
12 for the South Coast, but it's for the state.

13 Any air district, Bay Area, San Joaquin
14 Valley, San Diego and -- are all partners of ours in
15 this particular project, and these 43 trucks will be
16 demonstrated on a statewide basis. So we're really
17 excited about this particular project.

18 Next slide, please. This particular one,
19 the South Coast was not the recipient, but I wanted
20 to highlight it because we see momentum in this area
21 at a very fast rate, which is yard hustlers. And
22 this particular award is also from the Air Resources
23 Board, the California Climate Investments.

24 And it was for 27 yard hustlers with some
25 solar panels and medium-duty trucks, as well, and

1 those will be deployed the Inland Empire warehousing
2 sector at daylight transportation, as well as at rail
3 yards, and we're excited about this particular
4 project going.

5 And really, the idea is to monitor what
6 issues and hurdles they come up with, not just
7 performance on the trucks themselves, but also what
8 other ancillary issues needs to be considered. How
9 do demand charges play a role? How do we work with
10 the utilities in trying to address some of those
11 issues?

12 Next slide, please. This particular slide
13 just shows what the South Coast has done in terms of
14 medium and heavy-duty infrastructure projects. And
15 right now, we are working closely with Edison on
16 their application to the CPUC for additional medium
17 and heavy-duty Transportation Electrification
18 projects that they're interested in.

19 We've supported their position with formal
20 proceeding comments and so on, and we're continuing
21 to work with them in incorporating their efforts and
22 their infrastructure goals into our research,
23 development and demonstration projects, as well, and
24 I think that there's real potential for synergy
25 there.

1 As far as publicly-owned utilities go in the
2 South Coast, we've had a very long-term, established
3 relationship on light-duty and heavy-duty
4 infrastructure with the L.A. Department of Water and
5 Power, and I think you'll hear a lot more from them.
6 So I'll let Marvin cover a lot of that.

7 But we continue to support each other's
8 programs and they're also becoming increasingly part
9 of our medium and heavy-duty RD&D programs. So
10 really the goal that the South Coast has is to work
11 with all the different entities.

12 And I think meetings like this, these are
13 fantastic because it gives us an opportunity to talk
14 about how there's some still need for standard
15 development for medium and heavy-duty
16 electrification, and how common charging, the plug,
17 the receptacle are going to be really beneficial
18 areas to all collectively work on, and then also look
19 at other ancillary charges -- I mean, ancillary
20 issues like demand charges that I talked about.

21 Last slide, please. So again, in
22 conclusion, our driving focus is really the NOx
23 reductions or the criteria pollutant reductions, but
24 we continue to focus and work closely on reducing the
25 criteria pollutant along with greenhouse gases and

1 the use of fossil fuels, as well.

2 So we work very closely with the Energy
3 Commission, and I actually wanted to thank the Energy
4 Commission for being such great partners of ours.
5 And really, the idea is a hyper focus on NOx
6 reductions from medium and heavy-duty electrification
7 or medium, heavy-duty platforms, and I really think
8 Transportation Electrification is a big part of that.
9 So with that, thank you.

10 MS. RAITT: Great. Thank you. So next we
11 have a slight change to the Agenda. We have Chay
12 Thao, from the San Joaquin Valley Air Pollution
13 Control District, instead of Samir Sheikh. You can -
14 - if you want to control your slides you can come
15 here. Okay. Great. Let me just do that. Thanks.

16 MR. THAO: So I'll just sit here. Okay.
17 Great. Great. All right. Good afternoon. My name
18 -- again, my name is Chay Thao. I'm a Program
19 Manager at the San Joaquin Valley Air Pollution
20 Control District.

21 And so and the Valley's attainment
22 challenges are really unmatched by any other
23 region's, our geography, and as far as the
24 meteorology and everything's really going against us.
25 So we've done a lot over the years to get reductions

1 in emissions.

2 You know, we've adopted numerous attainment
3 plans. You know, we have some of the toughest air
4 regulations in the nation, have adopted over 600
5 stringent rules and regulations, and service ground -
6 - some groundbreaking rules serve as models for
7 others.

8 And we have over 80 percent reduction in
9 stationary source emissions so far. Spent \$40
10 billion, spent by businesses just on clean air
11 technology. And we also have a strong incentive
12 program. Spent about 1.6 billion in public and
13 private investments in reducing about 130,000 tons of
14 emissions.

15 And we also have a Public Education and
16 Participation Program to build support for tough
17 measures that we adopt, for example, like the
18 residential wood burning, you know, to urge air
19 friendly behavior by the public.

20 And through these combined efforts the
21 valley and the San Joaquin Valley's air quality has
22 been better than any other time on record. But
23 despite that, you know, there's still a lot of
24 significant challenges coming up. We're currently
25 preparing our attainment strategy to address mobile

1 PM 2.5 standards under the Federal Clean Air Act.

2 And so we -- between now and fall of 2017 we
3 have three standards to address, the '97, the 2006
4 and the 2012 standards. And so in addition to that,
5 the -- as many of you may already know, there's a
6 recent 2015 ozone standard dropping from 75 to 70
7 parts per billion.

8 So that's going to be upcoming also, and
9 that NOx is going to be a critical strategy because
10 it's a precursor to addressing both the PM 2.5 and
11 also, the ozone standards. And meeting the new air
12 quality standards are -- it's going to require just
13 an enormous amount of reductions in emissions,
14 particularly from mobile source emissions and in a
15 short time frame.

16 So just as an example, for the 2006 standard
17 the attainment date is 2019. So that's just right
18 around the corner. And as we approach this, you
19 know, we're still going to do our own part in leaving
20 no stone unturned in getting all the necessary
21 emission reductions that we can find from sources
22 that are under our jurisdiction.

23 And a failure to address such mandates would
24 subject the Valley to devastating federal economic
25 sanctions. And so the main point here is we're going

1 to need a massive amount of additional mobile source
2 emission reductions to reach attainment.

3 Over the years we've implemented so many
4 stringent rules for stationary sources and have put a
5 lot of effort and investment into there, including
6 incentives, that a lot of the stationary sources have
7 been, like I mentioned earlier, dropped, reduced by
8 about 80 percent.

9 So now, the main source of emissions for us
10 in the valley is mobile sources. It makes up about
11 85 percent of the remaining NOx emissions in the
12 Valley for us, and these are primarily under the
13 state and federal jurisdiction.

14 And so advancing the development and
15 deployment of zero and near zero emission
16 technologies is going to be critical for us to this
17 attainment strategy, and especially when we're
18 looking at Transportation Electrification. So this
19 is very important for us.

20 From a near-term perspective we see that
21 there are certain categories we can pursue which are
22 to demonstrate -- there has been demonstrated a
23 feasibility for the light-duty and the small off road
24 categories.

25 And we're looking at, like, light-duty, like

1 passenger vehicles, and even limited heavy-duty, such
2 as regional delivery or refuse or garbage trucks or
3 urban transit, where the distance is -- where the
4 range is not as long. And in the long-term, though,
5 we're really hoping to be able to do something with
6 heavy-duty electric vehicles for the long haul in
7 rural transit.

8 But at this point it's -- the technology we
9 have not -- the technology isn't fully there for the
10 heavy-duty and also especially for the long-haul.
11 And there's -- we do have programs such as the
12 Technology Advancement Program, which I'll talk a
13 little bit further here to demonstrate kind of a
14 hybrid between the electric and with an ancillary
15 power, whether that's natural gas or -- okay.

16 Here, so as far as what we're doing, we're
17 really at this point grabbing whatever we can and
18 getting whatever reductions that we can at this
19 point. And so for -- in terms of electrification,
20 you know, we have our Technology Advancement Program,
21 which is designed to accelerate the development and
22 deployment of zero and near-zero technologies.

23 And so this is basically just, we provide
24 the necessary funding to demonstrate different types
25 of projects, for example, like the electric yard

1 tractor that we helped fund at the IDEA Distribution
2 Center, that one's just pure electric.

3 And we still have other projects in line
4 that are using mix of hybrid technology electric
5 along with natural gas. And we also have a charge-up
6 program to purchase and install electric vehicle
7 chargers for public use, and of course, a drive
8 clean, which is for rebates and incentives for
9 electric passenger vehicles.

10 And we also are involved in Enhanced Fleet
11 Modernization Program, also known as EFMP and also
12 the EFMP Plus, to provide funding for more fuel
13 efficient vehicles and including the electric
14 vehicles.

15 And of course, we have multiple fundings
16 for, for example, a commercial scale charging
17 infrastructure for electric school buses, electric
18 transit buses, electric or hybrid trucks. And we've
19 also developed a plug-in electric vehicle readiness
20 planning to help local governments in identifying and
21 finding ways to remove barriers to electric vehicle
22 usage.

23 And so transformative changes, which is
24 electric vehicles, going to electric vehicles to
25 transportation is going to require a sustained policy

1 and funding support. I think at this point we still
2 need to promote, find some ways to promote and
3 provide support for development, demonstration and
4 deployment of the electric vehicles in various
5 applications.

6 And most importantly, we need to provide the
7 necessary infrastructure to support growth in
8 electric vehicle usage. For example, we need to show
9 that there's sufficient capacity to handle the
10 electric -- this increase demand, both at the, like,
11 passenger, and also to commercial usage.

12 And we also need to find some way to extend
13 access to electricity in key areas to provide
14 sufficient charging coverage to enable the use of
15 electric vehicles, and also need to provide cost --
16 find ways to provide cost-effective electric rates
17 for users.

18 And that pretty much concludes my
19 presentation, and if anybody has any questions we'd
20 be happy to answer -- I'd be happy to answer them.

21 MS. RAITT: Thank you very much. Next is
22 Noel Crisostomo, from the Energy Commission.

23 MR. CRISOSTOMO: Thanks. I'll be going
24 through my slides rather quickly to make up some
25 time, and since these were presented last week at the

1 Light-Duty Workshop. So to outline what we're going
2 to talk about today, I'll provide the policy
3 background for our electrification efforts as a
4 state, and our objective as the Energy Commission for
5 Transportation Electrification Planning as part of
6 the IRP.

7 I'll go into detail about recommended data,
8 information and reports that are included in our IRP
9 Guidelines that were presented -- or that were
10 published in advance of the Workshop on the 18th, and
11 with some thematic questions which we'll be going
12 over during today's discussions with the POUs.

13 So Governor Brown's Executive Order from
14 2012 ordered the Energy Commission and the other
15 agencies to establish benchmarks for a transformation
16 towards zero emission vehicles for the state. The
17 CEC is helping the state achieve by 2020 a number of
18 goals, including supporting infrastructure for a
19 million ZEVs, which do include transit and freight
20 ZEVs that we are talking about in detail today.

21 In addition, the CEC is setting benchmarks
22 for increasing access to these vehicles as more cost-
23 effective solutions, and working toward reduced
24 greenhouse gas emissions on the order of 80 percent
25 by 2050.

1 In addition, just a new part for today's
2 discussion, we're of course supplementing the 2012
3 Executive Order by a more recent Executive Order for
4 the Sustainable Freight Action Plan, which intends to
5 improve the efficiency of the freight system
6 represented by a 25 percent improvement in the value
7 of goods and services per CO₂ emitted, to deploy
8 100,000 vehicles and equipment by 2030 in the freight
9 sector, and third, to improve the future
10 competitiveness and economic growth in the state.

11 SB 350 requires the POUs to consider
12 Transportation Electrification as part of their
13 Integrated Resource Plans. Specifically, POUs are
14 responsible for addressing procurement of
15 Transportation Electrification and meeting the goals
16 of the Public Utilities Code, which include providing
17 customers service for this new electricity, reducing
18 impacts to ratepayers, improving the reliability of
19 the electric grid, improving diversity and
20 sustainability of the grid system in our communities,
21 enhancing demand side management programs, and of
22 course, minimizing greenhouse gas emissions and air
23 pollution emissions in our disadvantaged communities.

24 To this point, CEC may adopt guidelines to
25 govern information and data reporting to the -- for

1 the CEC's review, as part of the Integrated Resource
2 Plan process. We believe that the POUs are going to
3 -- are able to provide indispensable contributions to
4 Transportation Electrification efforts in California
5 through their Integrated Resource Plans.

6 Therefore, the Staff Proposal recommends
7 that the following data, information and reports that
8 we'll be going over in the next slide serve as the
9 best practice benchmark for the POUs in order to
10 support the growth of charging infrastructure that's
11 needed and to support integrated electric grid
12 operations to enable widespread Transportation
13 Electrification and emissions reductions.

14 So with this framework that adds upon the
15 Executive Orders SB 350 and the Draft Staff Paper for
16 Integrated Resource Plan Topics that were released in
17 February, the next slides cover data that we would
18 like to recommend that the POUs consider in their
19 IRPs.

20 The first area regards -- sorry. Before we
21 get into that, Staff recognizes that gathering the
22 information requested will take additional time and
23 resources, and so we recognize that the POUs might
24 not have all the information at this point, but we
25 look forward to working with them in order to enhance

1 their capabilities, since they are all different.

2 All of them have different local priorities
3 and governing boards, resources and technological
4 focuses. So the guidelines here are intended to
5 account for the need for flexibility across the POUs
6 throughout the state.

7 Toward this point, their Electrification
8 analyses, program preparations and eventual
9 accommodation of customer loads will have to be an
10 ongoing process as we learn about new technologies
11 that are being developed, and new use cases that can
12 be served by electric vehicle technology.

13 And therefore, we anticipate that this IRP
14 process will be an evolving and ongoing process. So
15 we welcome your support and feedback on how the POUs
16 and the CEC can work together toward widespread
17 Transportation Electrification.

18 And so while I'll be going over the Staff
19 Proposal on a high level, I'll refer you to the link
20 in the presentation. The first area of Recommended
21 Guidelines were to quantify, characterize and locate
22 EV charging load.

23 This includes accounting for the number and
24 types of Transportation Electrification vehicles,
25 charging infrastructure and the customers that use

1 TE, the need to also account for the additional load
2 brought onto the grid, fuel switched from petroleum
3 to electricity and the resulting tariffs that they
4 are able to use provided by the POU.

5 And a third area to quantify this TE load is
6 methodology to account for the air emissions
7 reductions, both in greenhouse gases and air
8 pollutants. One recommendation specifically was to
9 align with the ARB inventory, which is graphically
10 characterized here by economic sector and activity.

11 You can see that heavy-duty vehicles are I
12 believe roughly 10 percent of the 40 percent of
13 overall greenhouse gas emissions in the state. I
14 believe that's on the next slide, sorry; eight
15 percent heavy vehicles. But the recommendation would
16 be to align to ARB reporting conventions for
17 fungibility in the data.

18 The second area of programs that we would
19 like to account for how the utilities are designing
20 investments incentives, tariffs and rates or
21 generally, programs to encourage this new TE load.
22 We'd also like the POUs to specify the specific
23 market barriers and the proposed solutions to
24 overcome any customer hesitancy or technological
25 barriers to use EV technology.

1 And we'd also like them to specify how they
2 are prioritizing disadvantaged communities that are
3 disproportionately affected by air pollution as
4 notated here from an excerpt from the CalEnviroScreen
5 map.

6 A third area of information that the POUs
7 could provide to the Energy Commission include how
8 they are prioritizing their TE programs in leveraging
9 external sources of funding. These are essential to
10 align the POU efforts to the specific emissions
11 inventories that we just heard about, not only from
12 the non-attainment areas of San Joaquin and South
13 Coast, but all air basins throughout the state.

14 So we'd like the POUs to design their
15 programs to account for the specific emissions
16 reductions needed. We'd also like the POUs to align
17 with existing state incentives so that they can
18 leverage those funds, including the Alternative and
19 Renewable Fuel Vehicle Technology Program or the Air
20 Quality Improvement Program, et cetera.

21 And overall, leveraging these funds and
22 supplementing those funds from private, local or
23 federal sources are necessary to reduce the impacts
24 on the POU ratepayers.

25 The fourth area is to learn how the POUs are

1 educating and outreaching to their customers.

2 So the IRP Guidelines request to learn and
3 qualitatively note how POUs are engaging with their
4 customers on these programs, and specifically, we'd
5 like to focus their attention on how they would
6 coordinate with facilities that account for large
7 amounts of the mobile source inventory in their
8 service territory.

9 The map shown here is a screen cap of ARB's
10 Integrated Emissions Visualization Tool, which notes
11 stationary sources, but one could imagine
12 distribution centers or certain parking lots to be
13 serving a large number of fleet vehicles, which could
14 be a important point in their system to target both
15 from emissions planning standpoint and reduce impact
16 in the community, but also, a grid impact and load
17 impact valuation standpoint.

18 The fifth area in the Guidelines are
19 aligning the TE strategy with state policy and local
20 needs. In the Guidelines we list a few of the state
21 strategies, including the ZEV Action Plan Mobile
22 Source Strategy, Sustainable Freight Plan and Vehicle
23 Grid Integration Roadmap.

24 But of course, there are many other state
25 initiatives that the POUs could be leveraging. We'd

1 like to understand how they're doing that. In
2 addition, exemplified by this excerpt from a CEC map
3 of the POU electrical service areas, it is also
4 important -- we also think that it is important to
5 coordinate across utility territories to meet
6 regional infrastructure needs, especially since these
7 mobile sources may be traveling across multiple POU
8 areas. This is important to insure inter-operation of
9 our charging infrastructure and enable accessibility
10 for these inter-territory vehicles.

11 The last area is a need to coordinate TE
12 programs with distributed energy resource
13 planning. And so the Guidelines recommend that the
14 POUs describe their TE programs as part of an overall
15 DER planning effort to insure that our new charging
16 loads from EV fueling are consistent with the
17 electrical grid conditions that are rapidly changing.

18 This is a graph from the ISO's OASIS
19 renewables watch, which -- from last week -- which
20 shows that generally we could potentially add
21 charging during the day to help absorb wind and
22 solar, reducing the ramp during the afternoon, and
23 potentially use TE programs that could dispatch
24 demand response to reduce how high the duck might
25 raise its head during the day.

1 And so I'll conclude with some questions to
2 prime the POU discussion. We'd like to learn what
3 about the benchmarks and guidance are helpful or
4 unhelpful in planning for Transportation
5 Electrification.

6 We'd also like to learn how can they be used
7 to inform the changing grid operations. Can the
8 benchmark and guidance be more effectively designed
9 to communicate the POU contributions to meeting state
10 goals, but also the needs for assistance from the
11 state in whatever way that they need?

12 Would the benchmarks and guidance be better
13 enhanced by referencing others' reporting or modeling
14 conventions? Can they be made consistent across the
15 utilities to enable head to head comparisons where
16 such cross-utility comparisons are appropriate?

17 Finally, how could the benchmarks and
18 guidance be treated carefully, given the rapidly
19 changing technologies and new available vehicles in
20 this space, and how can the demand forecast and plans
21 be flexible to account for that change?

22 So more discussions will follow during our
23 afternoon panel with the POUs, but we would welcome
24 questions, comments and feedback afterward, and look
25 forward to your written comments, as well. Thank

1 you.

2 MS. RAITT: Thank you, Noel. Thanks.
3 Shifting to the large utility perspective is Eric
4 Seilo, from Southern California Edison.

5 COMMISSIONER SCOTT: Heather, right before
6 you shift to that, let me just make a note on the --
7 our kind of our scene setting, which I think was
8 excellent. I just want to say thank you so much to
9 the Air Resources Board, South Coast Air Quality
10 Management District and San Joaquin Valley Air
11 Pollution Control District for really helping set the
12 stage so we can understand kind of the circumstances
13 that are driving the need for electrification, and
14 then it really helps us to put in perspective why
15 we're focused on medium-duty and heavy-duty.

16 Both of you -- all three of you in your
17 presentations kind of helped hone in on why we're
18 focused on the medium-duty, heavy-duty. So I really
19 appreciate that. I wanted to echo back a remark that
20 you had made about appreciating partnership with the
21 Energy Commission.

22 We very much appreciate the partnership with
23 you on this, as well, as we think about how to
24 leverage our information and our strategies and our
25 dollars to really accelerate where we need to be.

1 And that's probably it. I just wanted to make that
2 remark.

3 MS. RAITT: Do you have anything on the
4 first panel?

5 COMMISSIONER SCOTT: Okay.

6 MR. SEILO: So thanks for having us out
7 here. I can sort of talk about this type of stuff
8 all day. So I'll try to keep my comments short. But
9 I'm Eric Seilo. I'm from Southern California Edison.
10 I worked helping design the Charge Ready Program back
11 in 2014, and then was also the Lead Project Manager
12 on our January Application.

13 And so, if you don't know, in January along
14 with the other IOUs, Southern California Edison filed
15 an application for a portfolio of investments and
16 programs in order to help accelerate Transportation
17 Electrification adoption.

18 This portfolio really focused less on the
19 light-duty segment, which the charge-ready Pilot was
20 taken care of and then eventual phases will focus on
21 light-duty, and the big chunk of it was really
22 focused on medium and heavy-duty applications.

23 So I'm going to talk a little bit about our
24 motivations behind that application. What we
25 actually proposed, in case you guys haven't had time

1 to read the application or the 100 or so pages of
2 testimony, and then sort of give some insight into
3 how we got to those numbers and some challenges that
4 we faced that you might face in developing programs
5 of your own.

6 So you're going to hear me say this multiple
7 times, but the medium and heavy-duty sector is not
8 like the light-duty sector. It's much more complex
9 and it's much more diverse. And that really shows
10 itself initially when we talk about emissions.

11 So as Chair Weisenmiller mentioned, you
12 know, 50 percent of the GHG emissions in the state,
13 when you include refineries, are coming from the
14 transportation sector. The majority of that is from
15 the light-duty segment, simply because of the number
16 of vehicles out on the road and the miles being
17 driven.

18 The opposite is true when you look at NOx
19 emissions, where 80 percent of the NOx emissions come
20 from the transportation sector, half of which are
21 from the medium and heavy-duty and non-road segments.
22 Now, this is important for Southern California Edison
23 because we serve the San Joaquin Air Quality
24 Management District and the South Coast Air Quality
25 Management Districts, which are the only two air

1 basins in the nation that are in extreme non-
2 attainment for ozone.

3 And there was a recent L.A. Times article
4 that says Los Angeles County has the worst air
5 quality in the entire nation. And so this directly
6 impacts the area that we serve and we're acutely
7 aware of those issues.

8 And so you can't address those air quality
9 issues without addressing the medium and heavy-duty
10 segments, and specifically, those segments where the
11 reductions that you're getting per kilowatt hour of
12 load added from those segments, you'll get about 30
13 to 80 times more per kilowatt hour than you will with
14 cleaning up the grid through energy efficiency or
15 renewables.

16 And so if you really want to attack this
17 problem you have to focus on those transportation
18 segments. So like I said, that we serve South Coast
19 and San Joaquin, we also have about half of the
20 state's disadvantaged communities.

21 And this really stems from the fact that we
22 have the Port of Long Beach and the Port of L.A. in
23 Southern California. SCE serves the Port of Long
24 Beach itself. It doesn't serve electricity to the
25 Port of L.A.; however, the goods coming into L.A.

1 ride on trucks that go through our service territory.

2 And so as you can see on this chart, the
3 yellow highways are the freight corridors, and they
4 kind of disperse all throughout Southern California
5 and you can see, and it's kind of no surprise, all of
6 the pink areas along those freight corridors are
7 where the disadvantaged communities are located
8 because of those NOx and particulate matter
9 emissions.

10 And so this is something that we're hyper
11 focused on at SCE, solving this issue and doing that
12 through Transportation Electrification. We think
13 that we can really serve a role in overcoming these
14 barriers and address some of the problems that we've
15 been talking about.

16 However, we are aware that we don't sell
17 vehicles and we don't want to sell vehicles, but we
18 do play several distinct roles that we have
19 identified. And that's really increasing
20 availability of infrastructure, increasing
21 affordability of our fuel and then also increasing
22 awareness of the benefits of Transportation
23 Electrification.

24 And we do that, obviously, through being
25 able to provide infrastructure, whether it's an

1 obligation to serve or it's beyond the meter
2 investments like we've proposed in charge ready and
3 this newest application.

4 Or it's rate design in order to help combat
5 some of the barriers that we've heard, especially
6 from the medium-duty and heavy-duty segments related
7 to demand charges, and then also, increasing
8 awareness, and then also, availability and
9 affordability through innovative collaborations.

10 And so because we serve the Port of Long
11 Beach, collaborating closely with them on how they
12 can electrify, what they can electrify, what their
13 charging needs are, the rates that they can use,
14 that's very valuable.

15 And then we're also very proud to say that
16 we have several transit agencies within our service
17 territory that have made commitments to increase
18 their electric vehicle adoption and even go 100
19 percent electric by specific dates.

20 And so we really see Edison as sort of the
21 clean energy adviser to these new customers. So with
22 this in mind, on the areas that we see or the roles
23 that we see SCE playing, I'll talk a little bit about
24 what we actually proposed in our application.

25 So again, I said it was a portfolio, and we

1 had several items in the light-duty segment. I will
2 not describe those right now. Instead, I'll focus on
3 what we did to address the medium and heavy-duty
4 segments, some specific issues for transits, two
5 projects at the ports and then a very innovative or
6 what I think is very innovative rate design option
7 for these vehicle segments.

8 So on the large \$553 million medium and
9 heavy-duty project, we took the model of charge ready
10 and we expanded it to essentially all non-light-duty
11 vehicles, and this includes non-road vehicles, as
12 well.

13 And we were planning to provide or were
14 proposing to provide infrastructure from a new
15 service drop to all of the trenching, paneling,
16 conduit and civil work on the customer site in order
17 to service charging stations, as well as provide a
18 rebate to the charging station for these customers,
19 as well.

20 One of the major barriers that we identified
21 was an up-front cost for these vehicles. And when
22 you're talking about putting in charging stations for
23 light-duty vehicles, the cost is -- are fractions of
24 what you have for these medium and heavy-duty
25 vehicles, because charging can be nearly 70 times --

1 75 times faster or more intense than what we see in
2 the light-duty segment.

3 And so the increased infrastructure and
4 costs associated with that are tremendous for these
5 areas. In the bus area we had the opportunity to
6 propose a Priority Review Project because several, as
7 I mentioned, several of the transits are further
8 along than other vehicle segments.

9 We wanted to reward those fast movers and
10 sort of get out of the gate and get some learnings in
11 a faster approval time line for these transit
12 agencies. But essentially, the model is exactly the
13 same, providing infrastructure up to a stub and then
14 a rebate on a charging station for these vehicles.

15 At the Port of Long Beach these were two
16 very specific projects, one focused on electrifying
17 rubber tire gantry cranes at one of the ports, nine
18 of them, and then another one focused on electrifying
19 non-road ER tractors, so heavy duty trucks that move
20 containers within a one port complex, and again,
21 providing that infrastructure up to a stub for these
22 customers.

23 So you can see a theme here on the
24 infrastructure side and that being a big barrier that
25 we think that we can address. On the affordability

1 side, we heard a lot talking to customers,
2 specifically in the transit agencies, but also in
3 some other medium-duty and heavy-duty customers about
4 rates and about demand charges, and the challenges
5 around not only the complexity of understanding what
6 that is and the impacts on their charging and when
7 they can charge and what they should be installing,
8 but also the cost.

9 And so in this proposal we have -- it's a
10 10-year introductory rate where the first five years,
11 demand charges are waived. We recoup some of that
12 revenue through an increased energy charge, but it's
13 very simple for the customer to understand.

14 And when they're in the early stages of
15 adopting these vehicles, when they have one vehicle
16 or two vehicles or three vehicles, they don't have to
17 worry about demand charges being spread across a
18 small amount of kilowatt hours.

19 For years six through 10 we gradually ease
20 those demand charges back in so that as they increase
21 their fleet those demand charges can be spread across
22 more kilowatt hours and the actual cost per mile or
23 cents per mile for them is less impacted.

24 And then from years 11 on, the demand
25 charges are -- the structure is the same as it is

1 now. However, after reassessing some of these load
2 shapes the demand charges are less than -- modeled
3 less than what they would be right now.

4 And so we think that this is a very unique
5 way and we really pushed our rates team to go, nope,
6 go back to the drawing board, make this better,
7 figure out a different way to solve this. And we
8 think that this is a great proposal and we've gotten
9 some really fantastic feedback from transit agencies
10 and from -- some from heavy-duty operators.

11 So in a nutshell that's what we're looking
12 at. And I'll talk a little bit about sort of the
13 goals and what we expect to satisfy there. So
14 initially, or first off, the goals outlined in the
15 Guidance by the signed Commissioner Ruling and the
16 PUC, we wish to satisfy all of those, obviously.

17 But we also with this hope to deploy, and
18 specifically speaking about the medium and heavy-duty
19 program, deploy in a wide range of market segments.
20 So when I said the medium and heavy-duty sector is
21 not like the light-duty sector, we have several
22 different types of customers that operate several
23 different types of vehicles, and the weight classes
24 and the technologies are all in different stages.

25 And so we wanted to make a program that was

1 very simple for customers to understand. So we said,
2 if you have an electric technology that is a non-
3 passenger vehicle, non-light-duty vehicle, we will be
4 able to service that infrastructure.

5 So this includes forklifts, medium-duty
6 trucks of different weights, heavy-duty trucks, other
7 non-road infrastructure like yard tractors or cranes,
8 et cetera, but the program structure is the same.
9 And so being able to provide this for both nascent
10 and mature technologies really sends a signal to the
11 market that it's okay to be moving in this direction
12 of electrification.

13 In this five-year program we are really not
14 going to solve the GHG nor the air quality issues in
15 our territory. So SCE really views this as the first
16 in many future programs that obviously will be
17 adapted as we go along to overcome appropriate
18 barriers.

19 But this is really just the start when we're
20 talking about scale and the issues of the problem as
21 we have addressed earlier. And so I think one of the
22 keys of this program is that it's a five-year
23 program. When we proposed charge ready we split it
24 up into a pilot program and then a phase two program
25 that was an additional four years.

1 We think in this market segment because
2 several of these areas are nascent and because lead
3 times to purchase these vehicles and make the
4 purchasing decisions are a lot longer for these
5 customers, having a five-year program that really
6 enhances that confidence and that stability and
7 allows customers to say, okay, I can begin thinking -
8 - I heard about this program; I can begin thinking
9 about it; I know it's going to take me two years to
10 purchase a vehicle. SCE will still be there to
11 provide this infrastructure for me when I'm ready to
12 need it.

13 And so we think that that's a very key area,
14 to provide that market stability. And then also,
15 we're going to be able to collect very valuable data
16 to enhance the future of this program and additional
17 programs.

18 We think that this -- SCE's role and the
19 scale will change as this program moves on and with
20 future programs. And then obviously, one of the main
21 goals is really to minimize that cost barrier and
22 support not only standardization and help drive the
23 market toward standardization, but also innovation,
24 and then the traditional roles of minimizing grid
25 impacts.

1 And this really falls into that awareness
2 bucket where SCE can work with customers over a long
3 period of time and advise them that super fast
4 charging may not be necessary for them. They can do
5 depot charging and it will cost them less, and what
6 is the rate impact and really being partners,
7 partners with these customers.

8 So some of the challenges that we had in
9 this area I think really stemmed around this vehicle
10 population and how big do we make this program. What
11 is an accurate forecast? There aren't a lot out
12 there for medium and heavy-duty space.

13 I think that this is up internally for each
14 of the POU's to decide what they're looking at. I
15 won't -- this is actually, I realized after I put
16 this together, a little complex to talk about on each
17 one of these charts.

18 It's just a lot of layers, but I think the
19 take away from this is that we relied heavily on the
20 ICF and E2 Transportation Electrification Assessment
21 for our vehicle population numbers in a forecast to
22 scale our program to.

23 But when I said that there was a lot more
24 complexity in these vehicle segments, for example,
25 what does medium-duty mean by weight class. Is that

1 one weight class? Is that three weight classes?
2 Heavy-duty trucks can have 17 different weight
3 classes.

4 What do you want to plus? When you're doing
5 vehicle -- and each one of those can have a different
6 forecast and impact the scalability of a program.
7 And so something to keep an eye out whether you're
8 using EMFAC or you're using EPA or using something
9 like the T Studies to really identify what vehicles
10 are they talking about, because an F350
11 electrification is very different than a UPS small
12 delivery truck, even though they may be in the same
13 weight class. So something to keep your eye out.

14 That really leads into, once you have this
15 forecast of vehicles, is to go okay, well, how much
16 is all of this going to cost. And so the way SCE
17 approached this was, again, to identify those market
18 segments and the technologies, leaning on the T Study
19 and then really defining the charging use cases.

20 So again, this is not light-duty and it's
21 very different and complex. We created different use
22 cases for all of the different vehicle segments. So
23 those use cases were based upon, initially, charger
24 size. So a 10 kW charger, a 26 kW charger, 52 and
25 200. And all of this is dealing in generalities.

1 Deployments will be different everywhere you
2 go, but you need to have some type of basis to make
3 these projections. So once you have those charger
4 sizes, then you have the scale of the site, anywhere
5 from two to 50 chargers, and then you have some
6 different complexities.

7 For example, a cold storage warehouse is
8 going to be different, very different than an asphalt
9 depot yard with regards to cost and infrastructure-
10 related. And so you multiply these together and you
11 have about 60 different scenarios per vehicle class.

12 And so from each of those scenarios you can
13 identify what you think is going to be -- what we
14 thought -- we identified what we thought was going to
15 be most appropriate, and we decided to choose a slow-
16 charging option and a fast-charging option for each
17 type of vehicle, medium-duty, heavy-duty, forklift,
18 et cetera.

19 And we identified the costs of each of those
20 scenarios on the utility side, separated by the
21 traditional location of the meter, of which we did
22 some internal forecasting, and then the customer side
23 where we contracted with an A&E firm who was working
24 on the charge ready deployment who are experts on
25 those site costs to establish those, the cost of each

1 scenario, and then got site costs for each one of the
2 vehicle classes, and then just applied those to the
3 forecast.

4 We leveraged some work through -- heavily
5 through EPRI that the other IOUs also used, as well,
6 which is publicly available and cited in our
7 testimony, to help us with the allocation of fast
8 charging versus slow charging per vehicle type, the
9 cost of charging stations, the charging speed,
10 et cetera. So I think that there's some good
11 information to reference going forward.

12 And then I think I'm going to -- I think I
13 will kind of just briefly touch on what we did,
14 looking at our Emissions Reduction Analysis. We did
15 not do any specific emissions reductions for NOx
16 within our territory, but we did take a look at the
17 GHG reductions because of guidance through the ACR.

18 And it's a little bit challenging, because
19 it's definitely based upon your adoption forecasts
20 and based upon your internal modeling. And so if
21 you're adding 7,000 gigawatt hours of load by 2030
22 you're production profile and the emissions from the
23 grid are going to be very different than are just
24 currently today.

25 And so we dropped all of our forecasted load

1 out to 2030, assuming that this program is approved,
2 and we achieve adoption in line to achieve the GHG
3 goals, and we were seeing increased emissions in the
4 electricity sector, as expected, because we have
5 increased electrification, but more decreases in the
6 electricity sector. And so net we're seeing more
7 reductions than some of the scenarios in ARB.

8 So just very high level on what that is.

9 I'm happy to take, you know, more questions.

10 Obviously, there's double clicks and triple clicks
11 under all of this, and it's a good summary.

12 CHAIRMAN WEISENMILLER: So if you were to --
13 this is Bob Weisenmiller. If you were to achieve --

14 MR. SEILO: Hi, Bob.

15 CHAIRMAN WEISENMILLER: -- your goals here
16 what would be the percentage reduction in NOx
17 emissions in the basin?

18 MR. SEILO: I don't know off the top of my
19 head. I'd have to go back and --

20 CHAIRMAN WEISENMILLER: Okay. That's fine.
21 If we could it --

22 MR. SEILO: -- check those -- yeah, I don't
23 have them --

24 CHAIRMAN WEISENMILLER: -- that would be
25 interesting, yeah.

1 MS. RAITT: Thank you. Okay. So now, we'll
2 move on to the first panel on POU Responses to Draft
3 Transportation Electrification Guidance for POU's.
4 And Noel will be the Moderator and we'll -- if folks
5 could come up to the table we'll get that ready.

6 (Pause)

7 MR. CRISOSTOMO: So thank you, everyone, for
8 joining me on this panel for the Publicly Owned
9 Utilities' thoughts on our Transportation
10 Electrification Guidance. I'll introduce the
11 panelists and describe their first round of roughly
12 10-minute presentations, and lead in eventually to a
13 discussion on some of the themes of the day that I
14 introduced earlier.

15 To my right, first, I have Barry Moline,
16 from the California Municipal Utilities Association,
17 Lowell Watros, from Redding Electric Utility, Bill
18 Westerfield, from Sacramento Municipal Utility
19 District, and Marvin Moon, from Los Angeles
20 Department of Water and Power.

21 So Barry, start us off, please.

22 MR. MOLINE: Okay. Thank you, Noel. Chair
23 Weisenmiller and Commissioner Scott, I'm Barry
24 Moline, with the California Municipal Utilities
25 Association. It's a pleasure to be here and to have

1 this conversation with you.

2 I want you to know that publicly-owned
3 utilities' community strongly supports the widespread
4 growth of Transportation Electrification, and this
5 transformation is essential for California to meeting
6 its long-term greenhouse gas reduction goals.

7 The change also represents a new opportunity
8 for electric utilities to expand into the services
9 that we offer our community. So we're beginning to
10 recognize both the value of this opportunity for our
11 communities, and we've known for a while the value of
12 the broader opportunity for society.

13 Now, as we talked about in the April 18th
14 Workshop, many POUs have already developed innovative
15 for charging infrastructure, and including
16 incentives, rate structures, all those things to
17 encourage Transportation Electrification.

18 And many POUs are in the process right now
19 of developing their programs. We have a few that
20 have gone down the road, so to speak, already, but
21 everyone's paying attention and eager to learn from
22 each other.

23 Now, because POUs generally have smaller,
24 more uniform service territories, they need to design
25 their programs that fit their local communities, and

1 this is particularly true for Transportation
2 Electrification, because there's factors such as
3 particular local economic conditions, rural versus
4 urban issues, existing transportation infrastructure,
5 our customer makeup that may be very specific to a
6 region.

7 All those things influence the kind of
8 programs and incentives that we see offering our
9 communities. So the need for a focus on programs
10 that are targeted to medium and heavy-duty electric
11 vehicles needs to be driven by these factors.

12 So for example, there are some POU's that
13 have customer load that's almost all commercial and
14 industrial, while others, such as Imperial Irrigation
15 District, have load that is at least half
16 residential. So the customer makeup and the programs
17 will differ based on their priorities for
18 investments.

19 So while these programs are necessary --
20 well, are effectively different across the state, we
21 like to collaborate and share best practices and
22 learn what we can from each other in developing each
23 of our programs.

24 So regarding information gathering, we
25 recognize a need for greater amounts of information

1 on Transportation Electrification and even though
2 this information exercise is important, we think that
3 the Commission should not only be using the
4 information for recommendations for POUs, but also,
5 it's an opportunity for the Commission to address its
6 own electrification programs.

7 So we think that the IRPs are a good
8 checkpoint for the Commission and the POUs to
9 determine what's working well and what needs to be
10 improved. And our goal is to collaborate with the
11 Commission to achieve the state's Transportation
12 Electrification goals, and we've had conversations
13 with Staff and we're more than hopeful.

14 We believe that there's a strong opportunity
15 on both sides to work together to achieve those
16 goals. We also think that we need to limit the
17 burdens that may be in law today or regulation, and
18 we plan to file joint comments with the Northern
19 California Power Agency and the Southern California
20 Public Power Agency that'll provide recommendations
21 to the Commission Staff on the Transportation
22 Electrification Guidance document.

23 One key concern is that there's a
24 significant opportunity surrounding the future of EV
25 growth and how the market will develop. We currently

1 have a relatively small load associated with electric
2 vehicles, and because of this, many POU's have not
3 done the type of analysis that would be necessary to
4 provide the annual estimates to 2030 for all the
5 categories contemplated in the Guidance document by
6 the deadlines for submitting the initial IRP.

7 So what we mean is that we just don't know
8 what growth is going to look like, based on
9 historical evidence. Instead, we see opportunities
10 for the automakers and dealerships to provide
11 estimates on future EV sales.

12 We think that they're better situated for
13 that, and for future IRPs that are done by POU's we
14 may be able to provide -- or POU's may be able to
15 provide this data if there's a better collaboration
16 between local dealerships and automakers.

17 Also, we think that the CEC can work with
18 the DMV to get better access to existing electric
19 vehicle sales and information. So similarly, POU's
20 have not really incorporated electric vehicle load
21 forecasting into their resource planning processes,
22 and mostly because the load is too small.

23 So this will likely change for future IRPs
24 when these loads increase and the forecast becomes
25 more sophisticated. So ultimately, we see

1 opportunities to work together.

2 We also see an opportunity to work with the
3 ARB, and that is the POU's continue to urge the
4 Commission to work with the ARB to develop a
5 methodology for estimating the amount of EV load that
6 a utility has without unrealistic and specific
7 metering.

8 We also think that the Commission could
9 allow or could collaborate with ARB to insure that
10 there's no regulatory disincentives to POU's
11 supporting Transportation Electrification. So with
12 that, I'll conclude my remarks and look forward to
13 working closely with you. Thank you.

14 MR. WATROS: Lowell Watros, Redding Electric
15 Utility. And I was listening to the presentations
16 beforehand, and I've lived in Southern California. I
17 appreciate what they're dealing with and so I'm sort
18 of like, you know, almost on another planet up in
19 Northern California.

20 Our load is less than one percent of the
21 state. We're the smallest utility I believe that's
22 under the IRP process. But even having said that, I
23 think we have some positive things to contribute, and
24 if you don't get a statewide buy-in on the EV
25 Programs you're going to have some problems that are

1 larger than the remote areas.

2 And so what we've -- we have not done much
3 on the heavy and medium and heavy-duty vehicles. We
4 have looked at, just recently last week, we were
5 looking at a EV bus to go into our local public bus
6 fleet, and we might fund some of that.

7 So that's our kind of toe in the water. But
8 on the light-duty vehicle we got approval last week
9 for an EV Program, and that's funded at \$1.7 million.
10 And so we're stepping out. For our size of community
11 that's a pretty sizable commitment to an EV Program.

12 And some points within that, education,
13 community outreach, media, so forth, incentives,
14 direct incentives for vehicle purchases, incentives
15 for level two chargers, both residential and
16 commercial.

17 Level three chargers, a few within our
18 service territory for the range anxiety issues,
19 because we are a little bit remote there. And we're
20 also -- we've started a pretty extensive analysis of
21 our city fleet vehicles.

22 And so we're looking to do some replacement
23 there, direct purchasing using some of those funds.
24 The EV Program that was approved last week was party
25 of a larger greenhouse gas reduction funds program of

1 about 6.5 million.

2 So that's a quick overview of what we're
3 doing, and with this I think we will see a cultural
4 change and that's what we're hoping for, you know, I
5 think California-wide. And we have a kind of a
6 hurdle in the more rural area compared to, as the
7 presentation showed earlier today. So with that,
8 that's about what we have in Redding.

9 MR. WESTERFIELD: Great. Noel, we brought a
10 few slides, so thank you. Just a few. Thank you.
11 Good afternoon, Chairman Weisenmiller and
12 Commissioner Scott. Thanks for having us. Actually,
13 I am pinch-hitting for SMUD's real expert on electric
14 transportation today, who of course is Bill Boyce.

15 He is down in the Bay Area and can't be with
16 us, so I will do what I can to answer your questions,
17 and the tougher ones we may have to put off for
18 another day. I will mention that if Redding feels
19 like they're on another planet, we probably feel like
20 we're on the moon in comparison to SCE.

21 We're not nearly their size and we certainly
22 don't have their resources to analyze heavy-duty --
23 medium, heavy-duty truck cases like they do. So we
24 will look forward to working with them and others to
25 help us out on that.

1 Next slide. Right. We thought it would be
2 useful to focus on what SMUD is doing to plan for EV
3 vote in the medium and heavy-duty sector, sort of
4 where we are currently in 2017. That's how I plan to
5 use the bulk of my time.

6 I think there's some IRP related questions.
7 We might have to save those for Q&A. SMUD medium and
8 heavy-duty electric vehicle market, we have just
9 completed an assessment study by Black and Veatch.
10 That's a big step for us.

11 They've just turned over the results of that
12 study, I think within the last month, and we're in
13 the process of going through it. I'll be able to
14 share some results but -- in a moment, but there's a
15 lot of digesting of that information that we need to
16 do before we can move too far, too fast.

17 Our medium and heavy-duty planning approach
18 is significantly different from our light-duty
19 vehicle scenarios that were presented maybe last
20 week. Light-duty can be seen as a somewhat
21 homogenous type of market and we can use a fairly
22 simplified planning approach for that.

23 I'll give you an example. We have quite a
24 number already of light-duty vehicles in our service
25 territory; by last count, almost 5200 as of February,

1 and they're growing rapidly. And these vehicles, of
2 course, tend to charge in a relatively similar way.
3 So planning for that is a lot easier.

4 The medium and heavy-duty sector, of course,
5 is more dependent on specific business activity. For
6 example, SMUD does not service any major ports in our
7 service territory, like L.A. or Edison. And the
8 mission duty cycles for the vehicles that could be
9 electrified have very wide variations.

10 And so for example, our service area is
11 dominated by smaller vehicle classes and local work
12 trucks versus the long haul and the short haul
13 trucks. So I think the theme that we have and I
14 think what I've heard from others today is there's
15 considerable variability in the type of vehicle that
16 we need to accommodate, and that makes planning a big
17 challenge for POUs that don't have the same resources
18 as Exxon.

19 Next bullet, next slide, please. All right.
20 So here is a bit of a snapshot of the data we got
21 from our Black and Veatch Study last month. It's a
22 bit dense, hard to see, so I'll try to walk you
23 through it.

24 Basically, along the top these are
25 projections of the number of electric vehicles that

1 may show up in our service territory, and the bottom
2 half attempts to quantify the load, the energy load
3 that those vehicles would place onto our system.

4 There are three cases that were examined, a
5 2020 case, 2025 and way out to 2030. And I think to
6 get the gist of this it's best to read it from left
7 to right, because on the left side is the light-duty,
8 the projection or the estimates of light-duty fleets
9 in Sacramento.

10 So for example, in 2020 their estimate's for
11 as low as 435 up to 847 light-duty vehicles, but if
12 you look way on the right for that same period of
13 time we estimate perhaps as low as zero Class 7 or
14 Class 8 trucks, and up to seven or nine.

15 So the lesson here is that as vehicles
16 increase in size and complexity the predicted numbers
17 in Sacramento County diminish quite a lot. And
18 again, this makes the point that we're dominated by
19 smaller class vehicles.

20 Next slide, please. All right. We do have
21 a number of programs that we've been rolling out in
22 the last several years to try to gain information,
23 data on just where the market is. One very important
24 program for us is the Electric School Bus Deployment
25 Project, and that is with three school districts here

1 in the Sacramento area.

2 We call that our Community Partners Project.
3 Basically, what happens is the school district
4 installs the infrastructure and SMUD provides a
5 rebate to complement other funding by CARB, the Air
6 Resources Board.

7 And my understanding is that's Proposition
8 1b money. This particular project will involve 29
9 school buses, and I'm told that that's one of the
10 largest, if not the largest, electrification projects
11 in the country.

12 We're getting ready to have a celebration of
13 that, an introduction of that in the next month or
14 two, and this is important to us and we want to bring
15 a lot of attention to it. We've also been involved
16 for quite a long time in electrifying the 49er Travel
17 Plaza on I-5.

18 I think we first started this in 2004 and we
19 call this our hotel load sort of project for trucks,
20 because instead of diesel to keep the cab
21 comfortable, this allows truckers to plug in to run
22 their lights, their air-conditioning, their heating,
23 computers and other sorts of equipment that they have
24 in the cab.

25 It obviously reduces air pollution by not

1 running diesel and it's a big cost-saver for the
2 trucking company. And I'll give you a bit of a
3 comparison. An hour of charging for one of these
4 trucks or use of our electric service for one of
5 these trucks is -- costs only about 12 cents.

6 Whereas, an hour's worth of diesel fuel is
7 probably roughly about \$3. So the savings are
8 enormous. And I'll note that SMUD used AV 32 funds
9 to pay for this project. We've also been working
10 with truck refrigeration unit pilot projects, the
11 TRUs.

12 And I'll mention a project that we've had
13 with Penske Trucking. This is another AB 32 project,
14 and again, funds that we got from selling our
15 allowances into the market. We gave rebates to
16 Penske Trucking to electrify doors at their
17 warehouse, and they've electrified 15 doors so far.

18 We estimated the savings of that on a
19 monthly basis are about 1600 gallons of diesel fuel a
20 month, and that's obviously a huge savings and a lot
21 less expensive for them. And we believe there's a
22 lot of opportunity for TRU projects in Sacramento
23 County, and of course, across the state.

24 We have also started what we call our Fleet
25 Assessment Tool Evaluation, and that project is to

1 put data logging -- data loggers on SMUD vehicles to
2 determine what can be electrified, what particular
3 functions on the truck can be electrified.

4 And we hope -- we're using that for our own
5 fleets and we hope to roll this out for customers as
6 early as next year. We've also established an
7 electric vehicle electricity rate, standard rate,
8 flat rate, that does not have a demand charge, of
9 course, to appeal to fleet owners who want certainty
10 as to what their charging costs are going to be.

11 The jury's still out on the popularity of
12 this flat rate for us. There haven't been a lot of
13 takers on it. So we remain to be seen how effective
14 it's going to be. And then we have our own Fleet
15 Electrification Planning Efforts, which I'll get into
16 in one of the next slides.

17 Next slide, please. Okay. So what are
18 SMUD's ongoing planning efforts in the heavy-duty
19 sector? We we're identifying target markets and
20 developing business plans to support the market. Our
21 focus is on local delivery fleets and utility and
22 communication vehicles, and we are trying to think
23 through and analyze the business cases that will be
24 used to establish our program support.

25 The Black and Veatch Study is one of the key

1 components of this, but we also need data that's
2 available from other sources, ARB, the CEC and the
3 other utilities to help us think these things
4 through.

5 We are supporting efforts by our customers
6 to go after grant funding. An example of this was
7 the School Bus Electrification Project, which
8 obtained quite a lot of Prop 1b money, and we are
9 planning additional pilot projects over the next
10 several years.

11 Like Edison, we view ourselves as a clean
12 energy adviser. We have a high level of trust here
13 in the City of Sacramento and the county as to the
14 kind of product that we provide, and we believe that
15 we can use that trust in order to educate our
16 customers about good electrification alternatives.

17 And of course, we're collecting data to
18 support our business cases, and that will be plugged
19 into IRP planning. All right. Thank you. Next
20 slide. Okay. This is a slide that gives a bit of an
21 outline of our EV fleet and EVSC expansion plans.

22 So you should read it basically left to
23 right on the top half, where are we in our current
24 fleet and where do we plan to go on both the fleets
25 and our EVSC appointments. And as you can see in the

1 upper left, we have a fairly limited of EVs in our
2 fleet at the present time, but we are aggressively
3 planning for that expansion over the next four or
4 five years to 2020, 2021.

5 And you can see that we hope to electrify a
6 large portion of our fleets. Same thing with our
7 EVSCs. We do have EVSCs at our facilities, but our
8 ambition is to rapidly expand those over the next
9 several years.

10 All right. Next slide. So in summary, we
11 have completed an initial market assessment using our
12 Black and V Study. We're trying to identify the
13 approachable electrification market segments, those
14 that will profit from electrifying, and the data that
15 we're developing for that we will use and plug into
16 our IRP planning process.

17 The business cases and the analysis are
18 under development, and I'd just like to say that we
19 feel like we have quite a few efforts on an ongoing
20 basis that give us the data that we need to determine
21 these applications.

22 But of course, cost and cost-effectiveness
23 is the key and sometimes that's the data that's
24 hardest to determine or to pull out from what's
25 available. We really feel like we haven't collected

1 enough data on cost-effectiveness within Sacramento.

2 For example, last year as part of our
3 resource planning process we presented a business
4 case to management to electrify a certain market
5 segment. Management felt like there wasn't enough
6 data to give that project traction.

7 So we need to see more evidence of cost-
8 effectiveness to convince management to roll out some
9 of these programs. In looking at the IRP Guidelines
10 and listening to Noel today, I appreciate that Staff
11 here understands that the POU's often don't have as
12 much information as the IOUs and don't have as much
13 information as we need.

14 And in some part the Guidance may be asking
15 for information that we feel like we can't develop.
16 So flexibility for us, of course, and understanding
17 that is very, very important. And I think in
18 summary, unlike the light-duty market, we feel that
19 the medium and heavy-duty market is just getting
20 started, and there's a lot we have to learn in order
21 to deploy these programs on any kind of volumetric
22 basis.

23 But in the meantime we're walking the walk
24 with our own Fleet Electrification Plan, and so we're
25 doing what we can. So be happy to answer your

1 questions.

2 MR. MOON: Well, good afternoon. I'm Marvin
3 Moon. I'm Director of Power Engineering for L.A.
4 Water and Power, and I'm going to be -- I greatly
5 appreciate the opportunity to discuss our approach to
6 medium, heavy-duty electrification, as well as some
7 comments regarding the Integrated Resource Plan
8 approach.

9 I'll also be stating a few comments from the
10 -- representing the Southern California Public Power
11 Association. So I was the designee for that. Next
12 slide, please. My brief comments go to talk a little
13 bit about our plan, particularly what our IRP
14 currently says.

15 We're going to talk about our plan and our
16 approach. We're going to be talking about our
17 strategy for infrastructure and rate for medium and
18 heavy-duty and a few recommendations. Next slide,
19 please.

20 Okay. You know, Mr. Brazil talked about how
21 transportation is key. I mean, it's three times more
22 greenhouse gas emissions than the electric industry.
23 There's a tremendous opportunity for GHG reductions.
24 Those that use the technology are going to save a
25 bundle of money.

1 We have an opportunity to integrate our
2 renewable resources as the grid becomes cleaner. And
3 also, to be quite selfish, every electric vehicle is
4 equal to half a house of load. So that's great.
5 Next slide, please.

6 So greenhouse gas reductions, ARB says we
7 need -- AB 32 says we need an 80 percent reduction in
8 our greenhouse gas emissions by 2050. And so our
9 Integrated Resource Plan already has a robust
10 discussion about electric transportation.

11 And taking into account all of the programs
12 they have, the renewables, getting off coal, high
13 efficiency, energy efficiency, once-through cooling
14 for our power plants and a high electric vehicle
15 model, this is what the results are today.

16 Next slide, please. If you look at this
17 graph here, this shows our trajectory as far -- this
18 comes right out of our Integrated Resource Plan.
19 This is our trajectory in how to get to reduction of
20 greenhouse gas emissions.

21 But the solid lines represent everything but
22 electric transportation. The dash line, the little
23 brown dash line, that represents the goal. The only
24 way, at least with the current modeling, that we can
25 get down to that goal is with very aggressive

1 electric transportation program.

2 Next slide, please. But you need a lot of
3 cars. You need a lot of cars and you need them to
4 charge at the right time. How many cars? It's right
5 there. By 2020 we need the equivalent of 145,000
6 cars in Los Angeles, but that's impossible.

7 That, even if we got the people to adopt 15
8 percent of new vehicle purchases, that will only get
9 us halfway, maybe 70 or 75,000 cars. Currently,
10 there are 27,000 in L.A. So how do we get there the
11 rest of the way?

12 Next slide, please. Also, let's look at the
13 CO₂ content, how valuable electrification is. Our
14 current electric mix has 1100 pounds of CO₂ for every
15 megawatt hour -- the equivalent megawatt hour of
16 gasoline. Well, I'm getting ahead of myself.

17 There's 1100 pounds of CO₂ per megawatt hour.
18 As we phase off of coal it's going to get down to
19 590. Compare that to gasoline at 2400 pounds. So
20 there's a four to one advantage of fuel switching,
21 basically, from gasoline to electricity.

22 Next slide, please. Also, of the eight
23 programs in our Integrated Resource Plan,
24 electrification is the only program that has the
25 potential to lower costs of electricity for

1 everybody. That includes the Reliability Program,
2 getting off coal, ocean cooling, renewables.

3 The far right corner you can see the line
4 goes below the axis, and that's because if you have
5 cents per kilowatt hour, if you can sell a lot of
6 kilowatt hours with very little investment in the
7 numerator, the denominator gets big and the cost of
8 electricity gets cheaper for everybody. So everybody
9 benefits.

10 Next slide, please. Okay. So and then
11 let's factor in the renewables. We saw this slide
12 earlier. The red represents our load. The blue
13 represents our thermal load, and to the extent that
14 as we add more solar the -- it's getting tougher and
15 tougher for us to ramp down our thermal generations.

16 The plants aren't even designed to do it.
17 And then when the sun goes down we have a two-hour
18 window that eventually could be 3,000 megawatts,
19 which would be tremendously difficult, as well. So
20 let's use cars to help solve that problem.

21 Let's fill in the valley with car charging
22 when we have too much solar. Let's not charge them
23 when the peak comes in and everybody get's home at
24 night at 6:00 o'clock. And how are we going to do
25 that? We're going to do it four ways right there.

1 You can see prescriptive rates. Send the
2 right price signals and already, a lot of the
3 utilities are shifting their peak loads to later, as
4 the solar load grows up. Also, eventually down the
5 road after that there's going to be dynamic pricing,
6 sending the right price signals at certain times of
7 the year are going to be more important than others.

8 Also, we need the EV infrastructure to
9 support it. In L.A. there's 20 electric cars for
10 every public charger. Now, no one's going to buy
11 cars unless they see some chargers out there. And
12 also, load factor.

13 You can see our load is getting peak here.
14 In fact, I saw a study not too long ago that showed
15 over the next five years our sales are essentially
16 going to be flat because of energy efficiency and
17 solar and like that.

18 But the peak load is going to go up .9
19 percent per year, or almost one percent per year, and
20 I have to be able to hit those peaks, which requires
21 more investment without anymore money to pay for it.
22 Next slide, please.

23 Okay. So here's the strategy. Here's how
24 we're going to get to that 145,000. We're going to
25 work and do everything we can to help increase the

1 adoption of electric vehicles, to the extent that our
2 goal would be over the next five years to have 15
3 percent of new vehicle purchases be some version of
4 plug-in.

5 Currently, in the state it's about three-
6 and-a-half percent. Nationwide it's about .9
7 percent. So that's one thing. That'll get us
8 halfway there. Then we're going to count public
9 chargers and workplace chargers as EV equivalents.

10 We have about 400,000 cars coming into L.A.
11 every day. Those cars can often, if, like if they're
12 plug-in hybrids, can't go home electric unless they
13 charge at work. So workplace charging is very
14 important. Public charging's important.

15 And we're going to count that charging.
16 It's almost like stealing charging from our
17 neighbors. And the third thing is, we're going to
18 consider non-light-duty or medium and heavy-duty as
19 EV equivalents.

20 So if you have an electric bus that's like
21 20 cars. Now, we don't have a crystal ball to say
22 the buses are going to take off or the drayage trucks
23 or the yard trucks or whatever that's going to come
24 up, but we're going to count everything that moves
25 and has a plug towards our goal.

1 Next slide, please. Okay. So here are the
2 six elements of our plan. It covers the education
3 and outreach piece, the city fleets, the Residential
4 Rebates and Incentives Program, the city
5 infrastructure, commercial incentives, and there's
6 the heavy-duty right there. That's one of the six
7 elements.

8 Next slide, please. Okay. So here's our
9 strategy for the heavy-duty. This is for the
10 infrastructure side. This stuff's expensive, very
11 expensive. So we got three buckets of money. The
12 first one is we have our rebate program and our
13 rebate program does have money for heavy-duty.

14 So that'll help take care of a bulk of the
15 charger cost. And then on the right side of the
16 screen you see that bucket of money service --
17 planning allocation. Whenever someone brings in a
18 new service most utilities have an allocation of
19 money, usually based on the size of the project.

20 In other words, the utility helps pay for
21 part of the infrastructure to be installed, but it
22 doesn't always pay for all of it, and that's the gap.

23 So between the charger help being paid for
24 with a good chunk by our rebates, and our service
25 planning allocation, the gap in between could be help

1 filled by some LCFS money. Now, we've been doing an
2 analysis of, for example, the bus yards in L.A., and
3 we found that 75 percent of them are slam dunks.

4 Even if you need seven-and-a-half megawatts
5 for 100 buses or 15 megawatts for 200 buses, it's
6 right there, because we're a pretty dense city. But
7 the other 25 percent's going to need some help, but
8 it's for the line extensions it's going to be a
9 little costly to get the power to those particular
10 sites. So that's our strategy for paying for the
11 infrastructure.

12 Next slide, please. Okay. So here's some
13 real life examples. This stuff is popping up right
14 now. L.A. DOT just bought four DASH buses. There's
15 a picture right there. They're running around
16 downtown L.A.

17 Well, of course, the facility people don't
18 talk to the fleet people. So when the buses came
19 there was no chargers. So Water and Power ran out
20 and got the chargers installed pronto to get them
21 going. Metro is planning to convert the L.A. Orange
22 Line.

23 That's the line that goes across to the San
24 Fernando Valley. It's a bus line. Their plan is to
25 put it -- start off with 10 buses. Eventually,

1 they'll have 43 buses. That's their first dip into
2 converting a line. We've been out there helping them
3 with four megawatts for charging for that.

4 The Port of L.A. This is going to be a yard
5 truck demonstration to move those containers around.
6 It's a very expensive installation, but this is great
7 because this is our first opportunity to really try
8 to take our -- we haven't identified what the rebate
9 is for heavy-duty.

10 So this is our test case to determine what
11 it is, and we think that if we could help solve --
12 figure out what the rebate is for that, it'll also
13 help for DC fast charging. We can use the same
14 model, not only for heavy-duty, but DC fast charging
15 on a light-duty side.

16 Next slide, please. Okay. So rates, the
17 fuel costs. So important. So two things. We see
18 two areas that need some help. One is depot
19 charging, that stuff overnight. I think we're in
20 great -- we're in good condition on that one for two
21 reasons.

22 One is, we have a large industrial rate for
23 the bus depot situation, which has no monthly demand
24 charge. And our off peak is 14 hours a day, from
25 8:00 p.m. till 10:00 in the morning, and on weekends

1 it's 24 hours.

2 Then layer on top of that we have a discount
3 of two-and-a-half cents for kilowatt hour on this off
4 peak charging. So if they can shift all their
5 parking -- their parking -- their charging to off
6 peak they're in pretty good shape with that rate.

7 But we do need to do something new, call it
8 the anytime rate. There are going to be people, like
9 some of these bus lines that charge opportunity
10 charging as they go, that's going to need something
11 for charging during the day, like a rolled in demand.

12 And that's a rate that we have to develop
13 and that's very doable. Our plan for that one is we
14 developed a very aggressive rate for ships that plug
15 into the harbor, and it's -- they have the worst load
16 factor you can imagine.

17 They come in once a week, 10 megawatts for a
18 few hours. Then they leave. So let's scale that
19 down to buses and DC fast charging. If we could do
20 it for ships with that terrible load factor and
21 compete against bunker crude, we can certainly do it
22 for bus -- for electric transportation.

23 Next slide, please. Okay. So here's some
24 recommendations. I showed you the importance of
25 heavy-duty, how it counts towards our goals of

1 145,000 and that's how we're keeping track. So we're
2 going to have to come up with a scorecard on how --
3 on chargers and cars and things like that.

4 We've also

5 Next slide, please. We've also inter-
6 blended a variety of programs for both our light-
7 duty, medium and heavy-duty infrastructure and also
8 fleets in our consumer education piece. LCFS is very
9 important.

10 We're just rolling that -- you saw how that
11 -- we're using this for gap funding for heavy-duty.
12 We're using it for about four other things, as well.
13 And also, consideration. You saw the four to one
14 advantage of switching from gasoline to electric.

15 Right now, the utilities don't get any
16 credit for that. So I think there should be some
17 consideration for that. Or not just utilities,
18 anybody who makes investment in infrastructure should
19 be able to get some sort of GHG consideration.

20 Next slide, please. Okay. So here's some
21 SCPA recommendations. Of course, everyone fully
22 supports collaborating with the CEC to advance
23 analytics, to the extent, of course, that it's
24 actually practical.

25 My caution to this, don't go overboard on

1 the metering. I know when I got my solar system at
2 home I was checking it three times a day when I
3 started, and then once a week and now I haven't
4 looked at it for two years. So that's the way it
5 goes.

6 POUs also need to expand and evaluate.
7 We're doing everything we can to expand. We
8 collaborate. We have a EV working group to get
9 things done and Edison joins us on occasion with that
10 group. When it comes to counting cars, don't count
11 on the utilities to know where the cars are.

12 That's really DMV and POC data. I would say
13 since CARB has to get the data anyway to do the LCFS
14 allocations, let's rely on their data and share it
15 with everybody, because that's expensive data. Next
16 slide, please.

17 Okay. And again, the EV market's very
18 small. I believe we've heard that before, as well.
19 And so as far as -- I would lean more towards
20 qualitative descriptions of what we're doing, rather
21 than quantitative data points. So that's another
22 thought.

23 And the other thing is, medium, heavy-duty
24 sector is changing so quickly. The technology's
25 changing. I'll give you two examples. We saw a

1 vendor the other day that said they had a package
2 substation that could just drop in and connect
3 primary voltage from the utility with built-in
4 metering and built-in energy storage, and they're
5 already deploying that with an EVSC company for rapid
6 deployment of charging stations.

7 Also, the Port of L.A. and the Port of Long
8 Beach are working together to develop a standardized
9 plug that any heavy-duty operator can plug into,
10 because they operate on a landlord/tenant basis and
11 they don't want to be stuck with stranded assets.

12 They were successful before, developing the
13 plug standard that's now used around the world for
14 plugging in ships. So they have a track record that
15 works pretty good. Next slide, please.

16 So if we're successful by the way we're
17 counting things, we're going to have the equivalent
18 of 145,000 cars in L.A. and we're going to be meeting
19 our -- both emission goals and better utilization of
20 our assets, as well. So thank you very much.

21 MR. CRISOSTOMO: Before we get started with
22 some discussion I wanted to just let Commissioner or
23 Chair provide a question for clarification.

24 CHAIRMAN WEISENMILLER: Yeah. Actually,
25 just a couple questions. Be sort of curious, two

1 topics. One of them is, you know, we've talked about
2 how do you track where things are going. And it
3 seems like one of the things you've got a way about
4 is clustering chargers and what that might do to your
5 distribution systems.

6 How are you dealing with that? If you say
7 it's a DMV's issue or, you know, the Air Board's
8 issue, right, when --

9 MR. MOON: No, that's not.

10 CHAIRMAN WEISENMILLER: Yeah.

11 MR. MOON: Not my answer. We have several
12 tools that we use to see what's going on in that
13 regard. One is, I have two service planning people
14 that all they do is help customers install level two
15 chargers.

16 Now, over half the people installing light-
17 duty don't even have a level two charger. They're
18 just plugging in the wall, and that's not very scary
19 to us. That's like plugging in a toaster. So it's
20 the -- one of the level two chargers that we're
21 interested in.

22 And so we get a lot of calls from customers,
23 helping them, should they go on the special rate or
24 should they do something -- how -- there's several
25 ways they could hook up to service. So we help them.

1 We also have access -- since we're an integrated city
2 we have access to city permits, and they actually
3 have a permit for EV chargers.

4 So we can see what people are doing that
5 regard, as well. Plus, and again, the data we
6 receive from CARB as far as where some of the cars
7 are helps. That's helps, but all that to say is in
8 all the time that we've done -- at least on a
9 residential side -- we haven't had to upgrade any
10 transformers with what we've seen so far.

11 MR. WESTERFIELD: I'm afraid I can't speak
12 to that specifically. My understanding is we have
13 done at least one study, perhaps more, on the need
14 for transformer upgrades, if certain fleets do go
15 ahead and electrify, as we hope they will.

16 That has not happened. We have not had very
17 many fleets. We haven't had any fleets that I know
18 of that have really electrified. We've had a lot of
19 interest. I can think of maybe three, four, five
20 companies that have approached us with the interest
21 in doing it, but it hasn't happened yet. So we don't
22 have that experience with clustering yet.

23 MR. WATROS: We have looked at the
24 distribution planning.

25 CHAIRMAN WEISENMILLER: Sure.

1 MR. WATROS: And our system is fairly
2 compact and fairly robust. So we don't see any
3 particular areas that we would have an overall
4 problem, even though on the solar side we have a few
5 distribution circuits that are limited for additional
6 solar. But on the load for EV charging we don't see
7 a problem at this time.

8 CHAIRMAN WEISENMILLER: My next question,
9 you know, we've all talked about using the batteries
10 to help on a grid integration. We obviously are
11 doing some vehicle to grid demos, but there's not a
12 lot, frankly, nationwide.

13 We looked the L.A. Air Force Base; you know,
14 and it certainly beats having one car in New Jersey,
15 say. But anyway, you know, we've done vehicle to
16 grid either two-way or one-way, but what are you --
17 are you doing anything at all in terms of R&D on
18 vehicle to grid so we can convert this hope to a
19 reality?

20 MR. MOON: Okay. I'll start. Actually, we
21 have. At L.A. we had the Smart Grid Demonstration
22 Project, which was half funded by Department of
23 Energy, and we did buy a V to G car. It was a
24 Mitsubishi and we did a lot of experiments with it.

25 We've also been playing around with wireless

1 charging on that. I think what we found was, of
2 course, it has a long way to go, because not only are
3 -- would the manufacturers have to support it, there
4 would have to be standards built around the thing so
5 they all work the same.

6 Then also, you have to do the financial
7 model, the back of the envelope. How much money
8 would you have to pay for someone to actually do it?
9 And I think what's happening is with the bigger
10 battery cars coming out I think there's a little more
11 of an opportunity to do it, because the short-range
12 vehicles, who would give up what precious power you
13 have. So we're playing around with it, but that's as
14 far as we've gotten.

15 MR. WESTERFIELD: My understanding is we
16 have not studied that in any detail. That sort of
17 overlaps into the area of storage, and I have taken a
18 look at some of the storage projects we've done over
19 the last several years, and none of them have
20 included electric vehicles.

21 I mean, we're still around the 5,000 number
22 of electric vehicles. We have over 1 million
23 residents, over 500,000 hookups. It's just too small
24 a number to study that at the moment.

25 MR. WATROS: The only thing that I've seen

1 on that is with the complexity of doing that,
2 depending on the grid services that you would look
3 at, the vehicles' battery pack and system would have
4 to be adaptable to that, and warranty issues and so
5 forth and like that. So I agree with L.A., a long
6 ways to go, unfortunately.

7 MR. MOON: I had one more comment. I think
8 the real value is, like I said earlier, is getting
9 cars to charge at the right time. I mean, that's
10 huge. That's something all of us can do. And to
11 that extent we're working on a Smart Residential
12 Charging Program, which we hope to roll out in a few
13 months, actually sharing data with customers and
14 rewarding them for charging at the right time. So
15 that's really important.

16 CHAIRMAN WEISENMILLER: You know, one of the
17 things we've sort of tried on the IOU side, but
18 without any success, is obviously you have a certain
19 number of your own customers that -- your own
20 employees that come in and charge, say, at the SMUD
21 headquarters.

22 Now, the question is whether you could do
23 anything with your own site there as you, you know,
24 get more -- you know -- as you have more, basically,
25 walk the walk and start putting in more electric

1 vehicles yourselves or your employees you're driving
2 in, that could at least in theory become a much more
3 controllable vehicle to grid demo that, say, trying
4 to go out and find another air force base.

5 MR. MOON: That's really true. Our
6 headquarters, we have 80 fleet chargers and 64
7 employees and 24 for the public. And we're getting a
8 battery system to try out the little micro grid
9 approach on our building.

10 CHAIRMAN WEISENMILLER: Right. Yeah. What
11 about -- one of the things, one of the more
12 interesting things in the past year has been
13 basically, Beijing and Shanghai have said every taxi
14 has to be ZEV, period, you know, at some time, but
15 not in a month.

16 Given if you've ever -- you're in Beijing,
17 not a hell of a lot of time for that conversion, and
18 that's certainly a fleet. You know, it's like, how
19 do we -- you know -- again, the big question is, we
20 can push more towards the individual household.

21 We can try to deal with fleets. And so is
22 there anything you guys can do with taxis, you know,
23 as much as they're still alive?

24 MR. MOON: I'll say I saw an announcement
25 about two weeks ago that one of the shuttle companies

1 for one of the parking lots at LAX is converting to
2 electric. So I was really excited about that. And
3 LAX is putting together a -- they're spending
4 billions of dollars on that Inter-Modal
5 Transportation Facility and consolidating all the
6 rental facilities.

7 So we're working with them to talk about
8 being really aggressive and over the top on EV
9 charging, you know, for those facilities, because
10 it's the opportunity to do it. They seem very
11 receptive to that, as well.

12 I have talked to BYDs who has been
13 instrumental with the Chinese ones. In China, I
14 think it's very easy for them because it's very
15 central to government, right.

16 CHAIRMAN WEISENMILLER: Yeah.

17 MR. MOON: With buses and taxis and things
18 like that. And they said that one of the most
19 important things to do on taxis is, for example, at
20 an airport, is to have first in line rights. And
21 that's the idea where they can get -- they can cut
22 ahead of all the gas vehicles, because that's a big
23 incentive to get people to switch over. That's what
24 they've shared with me.

25 MR. WESTERFIELD: As far as I know that, the

1 issue of electrifying taxis has not come up
2 internally. I mean, if you take a look around
3 Sacramento these days, it seems to me the number of
4 taxis that you see on the road have dwindled.

5 It's Lyft and Uber, and I would think, is my
6 personal opinion, that since the economics of driving
7 a taxi these days are tough in comparison to Uber it
8 would be a hard sell to find the money to -- for taxi
9 companies to invest in electric at this point in
10 time.

11 MR. WATROS: Pretty similar to SMUD on that
12 particular issue, but we are looking a little wider
13 ranging into the regional transportation plans. And
14 so I think that would encompass -- we're partnering,
15 we may partner on a couple different projects with
16 our Shasta Regional Transportation Agency.

17 So that might be an umbrella on the moving
18 targets from taxis to Lyft and so forth. So stay
19 tuned, I guess.

20 MR. MOON: I'd like to add one more comment.
21 We have a network of 16 DC fast chargers in L.A.
22 They're available for the public to use and actually,
23 they're free. What we found out was one of the
24 biggest users of that were Uber and Lyft drivers.

25 And so without even knowing it we helped

1 electrify a taxi fleet and we were very excited about
2 that. And folks like Evercar, I know they went out
3 of business, but they were big users, as well.

4 CHAIRMAN WEISENMILLER: Where does light
5 rail fit in your strategy or subways fit here, you
6 know, in terms of -- my impression was SMUD was
7 trying to do the light rail to say Davis, you know.
8 How does that fit in terms of tradeoffs between, you
9 know, cars, heavy-duty, in your thinking, or L.A.
10 subway, right?

11 MR. MOON: I'll start.

12 CHAIRMAN WEISENMILLER: Yeah.

13 MR. MOON: Metro is off the hook as far as
14 putting in rail systems. In fact, we're just
15 finished -- we're working on four of them at once.
16 With Measure M they just -- they have plans out to
17 2061.

18 So they're going to continue putting in
19 these things. They have the LCFS credits. They just
20 cashed in a bunch. So they're collecting that to
21 help support their operation to the LCFS Program. I
22 think it's great.

23 I mean, I think we should do more with
24 heavy-duty rail, if there's an opportunity for all
25 the trains that come out of ACTA and Long Beach and

1 Port of L.A. So I think there's a great opportunity
2 there and I applaud Metro for expanding those lines
3 and keeping them electric.

4 MR. WESTERFIELD: I wish I could say the
5 same -- have the same kind of optimism in Sacramento.
6 I know that our light rail system is, again, very
7 challenged for funds. I know of at least one project
8 where they were supposed to participate with us in
9 joint funding and they had to pull out because they
10 didn't have the money.

11 Light rail in Sacramento is strapped for
12 cash. I do know that they are very interested in the
13 LCFS Program. They are using those credits and
14 hopeful that they'll get some revenue from those
15 credits, but I don't think they -- I didn't know they
16 had the funds to expand to Davis. That's news to me.

17 CHAIRMAN WEISENMILLER: I think Picker, who
18 was running the Board at one point was indicating
19 that there was interest at your Board level in that.

20 MR. WESTERFIELD: I'll go back and ask him
21 what's going on.

22 CHAIRMAN WEISENMILLER: Okay. Right. I did
23 mention the L.A. Air Force Base. I understand from
24 Ron Nichols that, you know, so we focused on the
25 Edison part of that, which took a gawd awful long

1 time to interconnect, but I guess you also -- LABP
2 has some potential connections into that, too?

3 MR. MOON: No. They're strictly out of L.A.

4 CHAIRMAN WEISENMILLER: Okay.

5 MR. MOON: Outside of L.A., so we're not
6 part of that project.

7 CHAIRMAN WEISENMILLER: Yeah, bottom line,
8 if you're looking for fleets, at least in theory,
9 military bases have fleets that you can start pushing
10 the vehicle to grid down, along with -- again, if no
11 fleet it's pretty hard to make it work.

12 MR. CRISOSTOMO: So in a very quick few
13 minutes -- okay. In just a very few minutes I did
14 want to try to bridge the concept of starting from
15 zero in a new market, which we don't have data toward
16 analyzing cost-effectiveness and being able to model
17 this in IRPs, and using a standard way of
18 characterizing the vehicle and charging load.

19 We heard a variety of approaches to that,
20 one with Marvin about the effective EV, and then with
21 SMUD's study about the cost-effectiveness of electric
22 transport versus other resources. How do we
23 essentially start from zero?

24 How do we speak the same terms and
25 eventually have more robust analyses and leverage

1 pilots and other -- in other service territories to
2 the greatest extent to get along the trajectory that
3 ARB, South Coast and San Joaquin we're talking about?
4 Easy question.

5 MR. MOON: Well, again, just being selfish,
6 start -- look at our IRP as far as -- at least as a
7 start on how we -- how we're talking about the role
8 of electric transportation and how it plays with the
9 other initiatives that we have to get the overall
10 goals of -- that matches greenhouse gas emission
11 reductions, NOx emission reductions and keeping our
12 rates competitive, because they're cost-effective
13 differences and some are more expensive than others,
14 different programs. So it's a starting place to look
15 at, and build from there.

16 MR. WESTERFIELD: Noel, I think you raised a
17 great question and the key, of course, is costs for
18 our ratepayers. And we do have a number of pilots
19 that have gone -- that we've learned something of.
20 We have a few more in the works, but those pilots
21 should provide some economic data as to how much it
22 costs for us to subsidize these programs and whether
23 there's going to be interest on the part of our
24 customers.

25 I think it might behoove us to be a bit more

1 transparent with the finances of those kinds of
2 projects, and find if one -- if L.A., for example,
3 has found that a project for 1,000 cars or maybe 50
4 delivery vans is self-sustaining in a certain way, to
5 share that financial data with others so that we can
6 do the cost studies and benefit from that, because
7 it's the cost aspects that sometimes, that data
8 doesn't get shared.

9 MR. WATROS: As I mentioned in my statement,
10 we're just starting out on our EV Program, but we
11 have some pretty good analysts looking at our fleet
12 analysis versus the CEC model, and we've been looking
13 at that in parallel, seeing where the differences
14 are.

15 So at this point in time I think we don't --
16 since we're so small we don't see a problem to answer
17 just about any of the questions going forward. And
18 as long as it's flexible and we're listened to like
19 we are today I think we'll be all right.

20 MR. MOLINE: Well, like in any good
21 negotiation, you want to achieve a win-win. And I
22 think it's important for parties to identify
23 benefits. What are the benefits of moving forward
24 with greater electrification of transportation?

25 And while we're talking about, you know,

1 medium and heavy-duty vehicles today, I think the
2 concept is, you know, goes for all electrification of
3 transportation. So identifying those benefits and
4 then identifying the impacts, as well, whether
5 they're beneficial impacts or negative impacts.

6 Cost could be a barrier, but over time there
7 -- you know -- over a lifetime they may not be a
8 barrier. So it's important to look at them over
9 different time frames, and I mean, like initial cost
10 versus overall benefits.

11 Clearly, the Commission's interested in what
12 the future is going to look like, what growth is
13 going to look like. So there's value in trying to --
14 we talked a little bit or I had mentioned the
15 opportunity to share that information as much as
16 possible.

17 We don't have that ability. I think the
18 ability to understand what the entire market looks
19 like from the different players, we could share that
20 information better. And then as several folks just
21 alluded to, identifying what works and what doesn't
22 work.

23 And I mean, we heard some cool things today
24 already about, like, wow, you know, we're already
25 funding -- you know -- your question about taxis gave

1 -- you know -- we got an interesting answer about,
2 you know, Lyft and Uber drivers that are getting free
3 service, as well as what's going on in China, getting
4 first in line opportunities.

5 And those are the kind of things that if we
6 don't know they exist then we don't -- we can't --
7 you know -- so Redding might say, hey, we need to
8 think about that in our infant program and how we
9 can, you know, as we imagine our program in our local
10 community, our smaller community, let's look at that
11 opportunity or how we can do that.

12 So that sharing of ideas is really
13 important, as well. So all those things together
14 sort of see -- indicate a body of activity that is
15 both, you know, a regulatory element and then a very
16 robust sharing element that we need to do, not just
17 within the POU community, but just statewide and, of
18 course, broader to the extent we can.

19 That's harder to do. You know, we want
20 people to be able to share even what doesn't work.
21 And sometimes, we're a little afraid to talk about
22 those things.

23 MR. CRISOSTOMO: That's a great point to end
24 on. We could stay and talk about this all day, but
25 I'm getting the hook from Heather. So thank you four

1 for coming and sharing your ideas about
2 Transportation Electrification and then your IRP, and
3 we look forward to learning how we can share.

4 MS. RAITT: Thank you. And so we will
5 actually just take a quick 10-minute break so
6 everybody can have a stretch, but we'll be back
7 promptly in 10 minutes.

8 (Off the record at 3:29 p.m.)

9 (On the record at 3:39 p.m.)

10 MS. RAITT: Shall we go ahead and get
11 started with our second panel. Tim Olson, from the
12 Energy Commission, is the Moderator.

13 MR. OLSON: Thank you, Heather. Thank you,
14 Commissioners. I'd like to -- this panel is a
15 mixture of some industry people, some -- a lot of
16 different perspectives. And then we wanted to get
17 some information on the record from their views about
18 the direction of medium-duty, off road electric
19 transportation, as a kind of an advice or
20 recommendations to us, but also the publicly owned
21 utilities.

22 And I'll introduce all the members first,
23 the panel members first, and then we posed some
24 questions to them earlier and we're going to ask them
25 to comment on those. So Hannah Goldsmith is with the

1 California Electric Transportation Coalition.

2 Next -- well, and we have two people online
3 that will comment online. The second person is Kanok
4 Boriboonsomsin, who's with the U.C. Riverside Center
5 for Research in a special program, Transportation
6 Emissions Energy Health. It's a new institute.

7 Bill Van Amburg, sitting here from CALSTART;
8 Adenike Adeyeye from Earth Justice at the very end of
9 the table here, and then Chris Cannon sitting next to
10 -- he's with -- Chris Cannon with the Port of Los
11 Angeles sitting next to her.

12 And also on the line will be Fran Inman, who
13 has -- wears a couple hats. One, California
14 Transportation Commission and then she runs a company
15 called Majestic Realty, represents a lot of real
16 estate owners who are either terminal operators,
17 material handling facilities, and I'll ask her to
18 kind of elaborate on that.

19 So part of this is -- and thank you for
20 joining us here today for this discussion. Here at
21 the Energy Commission we use an expression that
22 hardware on the ground successfully operating
23 provides the insights, experience and motivation to
24 help ground truth our future activities and
25 investments.

1 Noel and I are part of a division that, as
2 many of you know, deploy \$100 million a year into the
3 non-petroleum sector, and maybe a quarter of that is
4 electric transportation and infrastructure. Each of
5 you offers a unique perspective regarding the
6 experience with medium, heavy-duty and off road
7 electric transportation.

8 I'm hoping you will share your views about
9 your experience, impacts of electric transportation
10 growth, and of course, for the 2017 IEPR,
11 recommendations to us and the publicly-owned
12 utilities to facilitate and plan for infrastructure
13 to meet growth.

14 I'd like to start with Hannah, and for all
15 of our speakers I'd like to have you introduce
16 yourself, whether you have any comments at this point
17 or you expect to have comments on our Electric
18 Transportation Guidance, that document that Noel
19 referred to, and then comments on the questions that
20 we raised to you earlier. And so we'll start with
21 Hannah from CalETC.

22 MS. GOLDSMITH: Great. Thank you for having
23 me. It's nice to be back here. You might have seen
24 me two years ago when I used to work at the Energy
25 Commission. So I'm Hannah Goldsmith. I'm with

1 California Electric Transportation Coalition, or
2 CalETC.

3 We're a nonprofit trade association that has
4 members, including utilities, both IOUs and POUs, as
5 well as traditional vehicle manufacturers and vehicle
6 manufacturers that produce medium and heavy-duty
7 electric technologies.

8 And so we're interested in seeing the
9 acceleration and advancement of Transportation
10 Electrification among all sectors. So that's our
11 interest in the medium and heavy-duty space. And we
12 are planning to submit comments on both this
13 Workshop, as well as the Light-Duty Workshop that was
14 last week.

15 So you'll see those from us. And I'm going
16 to provide a little bit of feedback on the Draft
17 Guidance. So I'm going to kind of lump together the
18 things that we support and then talk about the things
19 that we have a little bit of feedback on.

20 And so for Sections 3, 4 and 5 of the
21 Guidance, we support insuring that the TE Programs
22 from the POUs will help meet state goals like air
23 quality, climate change and alleviating environmental
24 burdens on those communities that are most impacted.

25 We also agree that utility programs should

1 leverage existing funding opportunities, and we agree
2 that the utilities are situated in a really great
3 position. They communicate with their customers very
4 often. So in terms of education and outreach that's
5 really important.

6 So moving onto the two areas where we have a
7 little bit of feedback, on the data sector, because
8 CalETC aims to see market acceleration for TE -- when
9 I say TE I mean Transportation Electrification, so
10 used to using all the acronyms -- we aim to see
11 acceleration in all sectors.

12 And the medium and heavy-duty sector is
13 behind the light-duty sector, but there are a lot of
14 promising advances. So for perspective, at the end
15 of 2016 the light-duty plug-in electric vehicle
16 market represented only slightly more than three
17 percent of the new vehicle market in California, and
18 less than one percent in the U.S.

19 So we still have a long way to go on the
20 light side, and definitely on the medium and heavy-
21 duty side. So we recognize that data collection is
22 important and -- but we're most concerned with
23 getting the vehicles and infrastructure deployed.

24 Our preferred approach to data collection
25 would prioritize the information necessary to advance

1 the PEV market, and we think that the Guidelines
2 should be narrowed to achieve this and be as simple
3 and straightforward as possible.

4 It was great to hear Noel talk about how
5 important flexibility will be with these Guidelines
6 and understanding how unique each POU service
7 territory is, and how they'll be able to basically
8 comply with the Guidelines and insure that their
9 applications include the data that's requested,
10 whether that be qualitative or quantitative, and what
11 they're able to provide and what they don't have
12 access to.

13 So we'd like to insure that the types of
14 data collected have a clear nexus to the problem
15 being solved. We've submitted some comments
16 regarding the Energy Commission's Title 20 Proposed
17 Data Collection Regulations, as well.

18 It's a parallel effort, and one of the
19 recommendations we had there was that the Energy
20 Commission, as well as the other agencies that are
21 interested in collecting all this data, form some
22 sort of work group where they involve experts on data
23 collection, as well as those that are undertaking
24 data collection efforts on these topics, to kind of
25 get an idea of the landscape of what data's already

1 available and what are the gaps, so that we're not
2 duplicating efforts.

3 So regarding the vehicle grid integration
4 portion of the Guidance, we support the current and
5 proposed efforts by utilities to send pricing signals
6 and explore more complex methods of achieving
7 integration, like PG&E's BMW Pilot and like the L.A.
8 Air Force Base Pilot.

9 When it comes to communication standards we
10 recommend focusing on more near-term VGI solutions,
11 like pricing signals, but we think we're pretty far
12 from where we need to be in terms of numbers of
13 vehicles.

14 To adopt something right now we would
15 recommend being careful about planning the future,
16 because technology is changing so rapidly, and we
17 want to insure that innovation is not stifled and
18 that the market continues to develop and expand and
19 is successful.

20 So overall, in terms of this collaboration
21 is key, I think you heard that a lot today. We want
22 to see everyone sharing lessons learned and bringing
23 everyone together so that we can move forward more
24 successfully.

25 And finally, we're also asked to provide a

1 little bit of information on the type of data that
2 our organization collects about how to plan for TE.
3 So CalETC undertakes what are called Transportation
4 Electrification Assessments.

5 We have three phases of this. They're
6 available on our website, but they look at the
7 environmental and societal benefits of electric
8 vehicles and the grid impacts. So Phase Three, Part
9 A, which I'll call T3A, was released in January 2016,
10 and this looks specifically at commercial and non-
11 road vehicles.

12 And so it includes adoption scenarios,
13 energy consumption forecasts, load profiles of
14 multiple, medium and heavy-duty and other technology,
15 including trucks, buses, forklifts, as well as truck
16 stop electrification and electric truck refrigeration
17 technologies.

18 And overall using the total resource cost
19 test and societal cost test, we found that all market
20 segments showed significant per vehicle or facility
21 net benefits, as well as economic and societal
22 benefits for California as a whole.

23 We also do other research, and I promise I'm
24 finishing up. We recently released our report in
25 collaboration with Plug In America that looks at

1 different methods to encourage electric vehicle
2 adoption, and it's a review of reports on incentive
3 effectiveness, all kind of incentives, specifically
4 for California utilities to help them with engaging
5 in this market. Thank you.

6 MR. OLSON: So Commissioners, can we just
7 continue on with the -- yeah. Okay. So Bill Van
8 Amburg, if you could then go next. And you know, you
9 have a lot of insights about the evolution of
10 markets, just for a couple different reasons.

11 You're the administrator of the ARB's HVIP
12 Program, and you have lots of members and you're
13 facilitating development of projects with your
14 members at CALSTART.

15 MR. VAN AMBURG: Great. Thank you very
16 much, and Chairman Weisenmiller and Commissioner
17 Scott, thank you for holding this Workshop. We as a
18 nonprofit, clean transportation technologies,
19 consortium, about 165 members, really are focused on
20 speeding commercialization.

21 And one of the areas where we really are
22 seeing commercialization finally start to take off is
23 in this medium and heavy-duty sector. It's very
24 exciting. It's taken many years and it is behind
25 light-duty.

1 But as Tim mentioned, through a lot of our
2 efforts we do administer the HVIP Program and similar
3 programs, actually, in Chicago and New York State at
4 the moment. And in fact, to an earlier point, there
5 are -- you can incentivize electric taxis.

6 We have a program called Clean Taxi or Green
7 Taxi in Chicago that is actually using a very small
8 amount of voucher money to actually get electric
9 taxis on the road in Chicago. So that can be a tool.

10 But as we look at the medium and heavy-duty
11 sector, one of the things that really stands out --
12 so I'll have some comments that I think interweave
13 observations on your Guidance to the utilities, as
14 well as kind of some key points that we see.

15 And this is derived from our HVIP Program
16 where we're really having to do some market
17 projection work now to be able to send the right
18 signals back to the Legislature and to ARB about what
19 to plan for in terms of incentive amounts.

20 A program that we ran for several years and
21 still have going, an E-Truck Task Force to identify
22 the barriers to electric truck deployment and use,
23 and then our Commercial Electric Vehicle Working
24 Group, which in advance of the PUC process tried to
25 bring together utilities, users, manufacturers in the

1 E-truck and bus space to understand what those issues
2 were.

3 We're seeing several things that come out of
4 that. First, it is happening faster than I think
5 most people understand. We've just put some market
6 projections together for HVIP through 2020, which is
7 about as far as you can count noses very well.

8 We're seeing a doubling of the amount of
9 medium and heavy-duty demand for vehicles. So we're
10 currently, we'll be at around 800 vehicles a year.
11 That will go up to 1600 plus vehicles per year by
12 2020. So we're starting to see that step up just
13 within the HVIP Program itself.

14 Buses are a core backbone of that, but it's
15 now starting to really grow out into the truck
16 segment, medium-duty trucks, in particular. So
17 that's number one. And I think as that starts to
18 expand, what I don't want to see and we gave comments
19 on this to the EPIC Program docket, is us fall behind
20 the curve.

21 We've been very nicely ahead of the curve on
22 light-duty. I'm a little fearful that we've put off
23 heavy -- medium and heavy-duty for a while, because
24 it wasn't happen for a while. Now would really be
25 the time to make sure from a infrastructure and

1 utility planning perspective we do get ahead of this
2 curve.

3 I think some utilities, and Edison has done
4 a good job of trying to get their arms around it,
5 have done a lot. Other utilities haven't seen as
6 much demand. So they need help. We really think the
7 Section 1 in your Guidance is really important, as
8 well as Section 5.

9 We do think utilities do need to coordinate.
10 This is not just a utility jurisdictional issue.
11 This is cross-jurisdictional. Particularly, we have
12 lots of public and private utilities that are
13 intermixed. We need to do broader regional or even
14 statewide planning for that.

15 We also -- the phasing is really important.
16 We're helping ARB right now develop a three-year
17 funding plan for medium and heavy-duty vehicles as
18 part of their AQIP and climate change investments.
19 And as we're doing that we've had to develop kind of
20 a strategy for, okay, when do we invest what and
21 where.

22 And as we've looked at that it's really
23 important to start recognizing what will be the
24 phase-in timing and the applications. And so we've
25 seen really a huge beachhead in the on road market in

1 transit bus, transit bus both for transit properties
2 and, as we heard earlier, also in universities,
3 campus settings for large businesses like Google and
4 others.

5 So that large bus segment is not just
6 anymore in the transit properties only, and you have
7 to start planning for this load showing up in other
8 locations you hadn't anticipated. It will also start
9 to phase out pretty clearly, we think, through
10 shuttle buses, medium-duty delivery vehicles and
11 those applications, and then into yard tractors.

12 And then we're going to see more and more
13 into the port environment, with some electrification
14 in cargo handling equipment. And then we're going to
15 see with range extenders it get into medium and
16 heavy-duty or heavier-duty regional delivery, which
17 will include drayage out towards the 2025 time frame.

18 As we do this we -- those load factors are
19 completely different for those vehicles. The
20 domicile locations for them are completely different,
21 the charge factors, but I think we can start to get a
22 handle on this.

23 We've developed a transformational model
24 with ARB. It will be something that will start to
25 roll out, I think they'll be unveiling on May 9th as

1 part of their three-year investment plan. But I
2 think sharing this kinds of information will be
3 really important to help all the utilities kind of
4 get a better visibility into what to expect, by what
5 time and what kind of vehicles and what kind of
6 domicile locations might those be located in.

7 But we don't have good data on this, and we
8 would really encourage the Energy Commission to
9 seriously consider across its programs how to help
10 the utilities and the regions plan adequately for
11 this medium and heavy-duty introduction.

12 So this right now is pretty important to us.
13 When you really think about it, even 50 transit buses
14 in one location is more peak load demand than the
15 Transamerica Pyramid. So that's a lot in one place.
16 Now, it's not all day, but it is a big peak demand.

17 Now, if you think about 50 dray trucks in
18 one location or 200 delivery trucks, those are big
19 load factors that are not in the traditional places
20 we've planned for light-duty. So again, we would
21 really encourage, we think your guidance is overall
22 good, and we would really want to stress this getting
23 ahead of the curve on planning, getting vehicle
24 timing, load demand factors better pulled together on
25 behalf of all utilities in the state would I think be

1 useful, rather than maybe just pushing it
2 individually to each utility; maybe building across.
3 And I think more resources need in that space.

4 MR. OLSON: Okay. Next, I'd like to have
5 Chris Cannon provide some comments, and if we can
6 line up Fran Inman to follow Chris, if that's
7 possible. She's going to be calling in online.

8 MR. CANNON: Thank you very much, and good
9 afternoon, Chairman Weisenmiller and also
10 Commissioner Scott. Thank you for inviting me to be
11 here, and it's a pleasure. My name's Chris Cannon.
12 I'm the Chief Sustainability Officer at the Port of
13 Los Angeles.

14 We're not planning to offer any formal
15 comments on the guidance, other than to offer my
16 appreciation and to applaud them. We think that what
17 you're doing is part of a broader effort that needs
18 to occur and is starting to occur across the state
19 and even beyond, and that's comprehensive goods
20 movement planning.

21 As we move toward having to face the very
22 critical challenges that we're facing with climate
23 change, and also the continued need to reduce health
24 risk in the environmental justice communities and so
25 forth, we've got to start to prioritize our resources

1 and funding and planning, and certainly coordination
2 with stakeholders.

3 And so this kind of guidance with the
4 thinking behind it is part of that. So I'll give
5 just a few comments on what we're doing now and leave
6 the rest for any questions that you may have. Our
7 goal is to get as many pieces of zero emissions
8 equipment operating at port terminals as we can by
9 2030.

10 Batteries are going to be the limiting
11 factor there. Battery technology is slowly
12 developing, but it's not anywhere near where it needs
13 to be. So we actually appreciate -- the Energy
14 Commission has helped us with some testing of some
15 battery equipment versus other equipment that's
16 considered zero emissions equivalent in order to look
17 for other opportunities to move in that direction.

18 Our goal is also to have on road trucks that
19 serve the port, the drayage operations, be zero
20 emissions, as well. At least 40 to 50 heavy-duty
21 zero emission trucks will be tested throughout the
22 state over the next 18 months, and I think the
23 majority of those will be battery electric, and many
24 of those will be in the San Pedro Bay.

25 But battery technology is even further

1 behind here. The range for these on road trucks is
2 very limited, 100 miles or less, and so
3 electrification there is going to have to be based on
4 duty cycle, meaning short haul, probably sooner, and
5 medium and longer-haul probably later.

6 We're doing a project at our Pasha Terminal
7 that I won't get into details, but we're pretty
8 excited because it has the opportunity to actually
9 supplement the grid. We listened to Marvin Moon talk
10 about how you have problems with peak -- excuse me --
11 peak usage and so forth.

12 And so this actually will harvest solar
13 power, store it in batteries that can be -- in this
14 case the batteries work well enough and they can be
15 used off peak. And then with all this we anticipate
16 that we will at least double and probably quadruple
17 our electricity usage over the next 15 to 20 years.

18 So as I said, lot of planning is needed.
19 We're looking at 200 megawatts or more of possible
20 need there. And it's going to cost a fortune. Just
21 as an example, if we have a 100 yard trucks, and
22 those are mentioned by Marvin, as well, if you have
23 100 yard trucks you're going to require maybe 10
24 megawatts of power to charge those, and that's 25 to
25 \$50 million in infrastructure just to support those

1 100 yard trucks. And those are just a small part of
2 what occurs at every terminal.

3 So looking ahead, our biggest
4 electrification planning issue we have here at the
5 Port of Los Angeles is power delivery. Our grid was
6 designed and installed in the 1940s and 1950s, and it
7 was designed using a topographical model, meaning it
8 was designed to service areas of the city, and not
9 necessarily particular types of uses.

10 And so in each of the areas is assumed to
11 have a mixed user profile, residential, commercial
12 and industrial. So when you had at the time
13 occasional power outages in different parts of the
14 cities it wasn't as much of a problem.

15 The city was still growing. But now, as the
16 city has grown so much you have areas which have much
17 higher power needs and where the impact of a power
18 outage is much, much greater. With heavy-duty
19 industry, when you have a power outage you have
20 emergency systems that cut in.

21 It sometimes takes hours to get equipment up
22 and running again. It costs a lot of money and it
23 can be very expensive in that some of the equipment
24 can be damaged. So the DWP has done a great job of
25 dealing with these, but even they don't have all the

1 abilities to handle these kinds of problems in heavy
2 industry areas like our at the port.

3 So we recommend that utility lines need to
4 be upgraded. We need to think about that. A minor
5 hiccup, as I said, can be very expensive.

6 Consistent, reliable power is needed. Ultimately, we
7 need to identify areas that need even dedicated
8 lines, based on power usage and priorities.

9 Some areas are going to need very high
10 voltage, and so that's going to need to be thought
11 about and planned for. And this is stuff that we are
12 already working with the Department of Water and
13 Power on.

14 But green power generation, I'd be remiss if
15 I didn't bring it up. We're talking about all this
16 kind of electrification. The power, however, has to
17 be generated in a way that's green or we're wasting
18 our efforts.

19 All you have to do is go to China and
20 Beijing to see all that smoke that is occurring there
21 and it's because of carbon power -- carbon fire power
22 plants. And we also, interestingly, and this is
23 something you don't always think of, have to find a
24 way to responsibly dispose of and recycle used
25 batteries.

1 As battery technology continues to grow this
2 is going to be an issue, and it's not easy to get rid
3 of that stuff and recycle it. Earlier today it was
4 mentioned, charging standards and manufacturing
5 standards. There is an outfit called Underwriters'
6 Laboratories.

7 If you buy a lamp for your house, for
8 instance, it's made according to certain standards
9 and safety requirements, and these things are always
10 done. Nobody even thinks about them anymore. There
11 are no safety standards set for electric vehicles
12 right now.

13 They're all just kind of being manufactured
14 by good engineers who are very smart, but there needs
15 to be a common Underwriters' Laboratory type set of
16 standards for the manufacturing. And then the
17 charging themselves have to be standardized.

18 Any of you who've traveled overseas it's not
19 as bad as it used to be, but if you wanted to plug in
20 a hair dryer or a phone these days or whatever, you
21 have to have a common plug. Well, the same is true
22 with the kinds of equipment that are being plugged
23 in.

24 We've got many different manufacturers
25 making electric vehicles. They all have their own

1 plug. So you need to standardize that and it sounds
2 simple. It's actually not. And then, of course, as
3 was mentioned, rate structures have to be based on
4 strategic pricing in order to incentivize
5 electrification, and otherwise strategize.

6 So I could keep going. I tried to go over
7 it very quickly and I'm happy to answer any
8 questions, but I think that at least covers some of
9 the main issues that are of concern there. Thank
10 you.

11 MR. OLSON: Thank you, Chris. So could we
12 go to the phone and ask Fran Inman to make her
13 comments? Fran, are you there?

14 MS. INMAN: I'm here. So thank you very
15 much. And first of all, I apologize for not being
16 able to join you. I tried but Southwest didn't work
17 with me today. So here I am, back in my office. So
18 first of all, I really think that it's fascinating to
19 have these discussions and to hear different
20 perspectives.

21 I think Chris's summary probably summarizes
22 what I'm seeing on the most part. And I guess I
23 should back up a little bit and tell you about my
24 couple of the hats I wear. So one hat is Vice Chair
25 of the California Transportation Commission.

1 So in that regard we're responsible for
2 worrying about all types of mobility except the High
3 Speed Rail, which is a separate Commission. But
4 other than that, clearly, our transit partners are
5 light rail partners, all of our freight partners,
6 active transportation.

7 So we spend a lot of time working with our
8 various state partners, as well as our external
9 partners, whether they're MPOs or our industry
10 partners. So appreciate the ability to participate
11 today wearing that hat.

12 I think in terms of the energy requirements,
13 we are in the midst of all of the discussions on the
14 sustainable freight strategy, which I think kind of
15 zeroes in on the heavy-duty and the medium-duty
16 discussions that we're having today and how do we
17 balance those legs of the stools, though, all at the
18 same time.

19 So how do we reduce our emissions and
20 increase our competitiveness and our efficiency, and
21 make sure that we're moving all of those at the same
22 time. So delighted to be in the midst of those
23 discussions.

24 And my day job at Majestic Realty, we're
25 commercial real estate developers with a portfolio of

1 90 million square feet across the United States; a
2 little different from many of our competitors in that
3 we build and hold.

4 So we actually got into these supply chain
5 discussions from hearing from our tenants, the likes
6 of which would be Mattel, Target, Home Depot, you
7 name it, when they couldn't get their goods from the
8 port and I was sent by our chairman down to see what
9 was wrong.

10 And I'm sure he thought there was one signal
11 or one intersection that needed a traffic signal or
12 something. But that was probably about 15 years ago
13 and how I began my journey of really studying the
14 supply chains and goods movement.

15 So delighted to be a continuous student, and
16 I was just down at our ports early today with more
17 discussions. But I think, you know, what Chris
18 talked a little bit, about the scale, and I think on
19 the heavy duty cycle and the sheer size of the
20 operations, particularly in Southern California,
21 scale matters.

22 So I think it's particularly important for
23 all of us to get it right. Also, the reliability is
24 an issue I think for all of us to think about. You
25 know, it's one thing for us to lose power in our

1 office, whatever. We don't like that, but it still
2 could happen.

3 But if we have an 18,000 TEU vessel that's
4 just arrived and we lose power, you know, what do we
5 do? So I think that we on the movement side totally
6 appreciate the externalities and the changing,
7 continuous shifting that we have to be ready for, and
8 make sure that we can adapt and be flexible.

9 So I think as we move to the Transportation
10 Electrification I would agree with those that have
11 said, you know, we're a little behind on the heavy-
12 duty sector. You know, I look at where we are, just
13 I think I read that California ranks 47 out of 50 in
14 terms of just the traditional adoption of the latest
15 motors and engines and everything on our trucks.

16 So we -- you know -- we're a little bit I
17 would say fragmented in terms of this huge, huge
18 undertaking. I think we -- the number is 16,000 port
19 trucks and drayage just at our ports. So we've got a
20 fragmented market.

21 I think that looking at the incentives and
22 the alignment, I think we've got to, you know, watch
23 what these pricing signals can be. How do we
24 collectively figure out where to start first, would
25 be my recommendation, because I think that there are

1 some applications that are just more natural that we
2 can get some early success with.

3 I think that, you know, really, for all of
4 us the origin and destination studies to really
5 figure out and get some good data, our ports are
6 doing some amazing work with trying to gather the big
7 data that's been sitting out in all of these
8 different silos, and we're just in the midst of a
9 pilot right now about how can we make better
10 decisions based on what we're learning.

11 And that's just on the port side, and
12 imagine what we can do with better information.
13 Meanwhile, we've got -- what we're seeing on the
14 warehouse logistics side are all of these demands,
15 heavy commerce.

16 And as our retailers like to say, to move
17 from bricks to click. And what does that mean in
18 terms of the transportation requirements and how do
19 we fill those? On the warehouse distribution side we
20 have yet to see much migration.

21 We see with our partners at UPS and FedEx
22 where their -- you know -- scale matters for them and
23 they have more of the alternative fuel, but for the
24 rest of it we are not seeing -- we're not hearing
25 from our customers that they've seen significant

1 changes yet.

2 So I'm happy to answer any questions, but I
3 just want to encourage everybody to keep talking and
4 keep these discussions going of how best that we can
5 move together in a very effective and efficient
6 manner, because I'd say beware of the unintended
7 consequences.

8 MR. OLSON: Thank you, Fran. Could you stay
9 on the line for another 10-15 minutes, if there are
10 other questions?

11 MS. INMAN: Oh, sure. Yeah, I'm good. I'm
12 good.

13 MR. OLSON: Okay. I'd like to go to our
14 other caller on the line next, and that's Kanok
15 Boridoonsomsin, with the U.C. Riverside TEEH
16 Institute, and he has -- he's going to do a
17 presentation, short presentation from afar.

18 MR. BORIBOONSOMSIN: I'm here. And thank
19 you for the opportunity to be part of the program
20 today, and I also apologize on not being able to be
21 there in person. So today I -- we offer perspective
22 from our Research Academy on the Draft Guidelines.

23 And first of all, let me introduce myself a
24 little bit. So I am part of the research faculty at
25 the University of California at Riverside, College of

1 Engineering, Center for Environmental Research and
2 Technology, or CE-CERT. And also I'm the lead for
3 UCR in the newly founded center called CARTEEH, which
4 I talk about in more detail in one of the slides.

5 Now, let me get back to the Draft TE
6 Guidance. My background is in transportation, and
7 once I have gone through the Draft Guidance I see a
8 lot of similarities between IRPs and long-range
9 transportation plans, that is, to plan for network
10 capacity in support of increasing and often
11 fluctuating demand.

12 Now, with that context I would like to
13 encourage further data to be collected by customer
14 type as much as possible. This is item number one in
15 the Draft Guidance. And there are two major benefits
16 to that.

17 One is obviously that we allow for more
18 effective policy-making for Transportation
19 Electrification, and also, in a broader sense, that
20 will also enable the coordination with other
21 transportation of quality programs or policies.

22 Just to give one example, we have collected
23 some data from drayage trucks in California and we
24 see significant differences in operating patterns
25 between those that serve the ports of Los Angeles and

1 Long Beach with the one that serve the Port of
2 Oakland, and the reason is that at the ports of Los
3 Angeles and Long Beach there is the Off Peak Program
4 that encourage some truck traffic to move to
5 nighttime operation.

6 So that means that there are a lot of miles
7 during the nighttime a lot, and that also means that
8 there's a lot of energy usage during the nighttime.
9 And this is totally different from the ones that
10 serve the Port of Oakland where everything has been
11 during the daytime.

12 And what does this mean for electrical load
13 profile out to POU? We have to respond to these
14 additional loads in the future, for just one example.
15 In the next few slides I will kind of go through some
16 of the research related to Transportation
17 Electrification that have been conducted at CE-CERT,
18 and then in the last slide I will also introduce the
19 new vendor, CARTEEH.

20 So aside from the large scale data
21 collection in the previous slide, we have also
22 conduct many measurement studies of alternative fuel.
23 We got technologies from electric Class 8 trucks all
24 the way to hybrid construction equipment.

25 And mainly, these are to -- can have poor

1 independent verification of the vehicle performance
2 and in some cases emission performance, and there is
3 -- basically help increase consumer confidence and
4 hopefully promote market adoption of these new
5 technologies.

6 Would you mind a step to the previous slide.
7 Thank you. So one thing that I'd like to point out
8 about the collection of truck activities data is that
9 these data are now becoming more and more cheaper to
10 collect with the new sensor and data locking
11 technologies.

12 So we are able to get data down to second-by
13 second-level, which is very high fidelity, and that
14 can be used to do a lot of things such as determine
15 the suitability of a truck for electrification. The
16 data can be also used to estimate the monthly or
17 annual energy demand if they're fully to electrify,
18 or it can also be used to estimate a time of day load
19 profile, as mentioned earlier.

20 Next slide, please, and then also next
21 slide. Another study that we are involved in right
22 now is actually being funded by CEC. This is called
23 Eco Friendly Freight Advanced Traveler Information
24 System, which is the integration of operational, as
25 well as environmental performance improvement

1 technologies for improving drayage efficiency, and
2 there will be a one-year demonstration of these
3 integrated technologies at the Port of Los Angeles
4 starting in next year.

5 And this is in collaboration with the Port
6 of Los Angeles, Productivity Apex, and Informagnus.
7 The key output that will come out of this project is
8 the real world data load at the fleet level, as well
9 as the vehicle level for a year, and then that will
10 be a very viable data set that can be used for, for
11 example, modeling the electric grid sizing and
12 charging needs for the fleet, or looking at the
13 impact of vehicle electrification on fleet
14 operations.

15 With a shorter range, how would the fleet
16 have to adapt to that and be able to still serve
17 their customers. It can be used also to look at the
18 overall cost savings for the fleet as a policy of
19 greenhouse gas and emissions reduction.

20 Next slide, please. And as I mentioned, I
21 also representing CARTEEH today and it stand for
22 Center for Advancing Research in Transportation
23 Emissions, Energy and Health, and this is established
24 last year with five-year funding from the U.S.
25 Department of Transportation.

1 It consists of Texas A&M, John Hopkins,
2 Georgia Tech, U. of Texas, El Paso and ourself, U.C.
3 Riverside. There will be both research and
4 educational components that will be going on under
5 the umbrella of CARTEEH.

6 And in n terms of research, in the first
7 year of the center we have two projects lined up that
8 will happen in California. And one of them is the
9 duration of energy and emission benefit of electrify
10 and connected trucks for drayage application.

11 And the other one will be looking at truck
12 emission exposure at seaports and we'll be conducting
13 emission exposure measurement down at the ports of
14 Los Angeles and Long Beach. The unique thing about
15 this center is that it bridges two research domains,
16 transportation and public health, that traditionally
17 may not have been kind of working together.

18 So it will allow us to look through the lens
19 of what happened from the transportation side, how it
20 impact -- or how did the emissions generated from
21 transportation sector impact public health on the
22 other end.

23 And for this new center I think one other
24 thing that I'd like to point out is that so far, most
25 of our research at CE-CERT, even in year one of

1 CARTEEH, has been focused on the demand side, which
2 is the trucking side of the equation.

3 With the Draft Guidance and with ongoing and
4 also upcoming effort from the POU, we will have
5 hopefully more data on the supply side so that we can
6 model different what if scenarios of policy that can
7 be used to support the market intervention of
8 Transportation Electrification.

9 And we'd be happy to be a resource to POU or
10 a partner in whatever capacity that we may be able to
11 contribute. And that's the end of my presentation
12 and I'd be happy to answer any questions.

13 MR. OLSON: Okay. Thank you. And if you're
14 willing to stay on the line here a little bit when we
15 go through our Q&A. So our last speaker here in the
16 room is Adenike Adeyeye, with EarthJustice, and I
17 suspect you've now heard comments from everybody here
18 and I know you have views on a lot of these different
19 topics.

20 MS. ADEYEYE: So thank you, Chair and
21 Commissioner and Neal and Tim -- Noel and Tim, sorry.
22 My name's Adenike Adeyeye, and I'm a Senior Research
23 and Policy Analyst at EarthJustice. Just to explain
24 EarthJustice, we're a public interest environmental
25 law firm, and I'm not an attorney. Feel like I

1 always need to say that.

2 And we are representing a couple of groups
3 in the IRP processes here and at the CPUC. So here
4 we represent -- actually, here and at the CPUC we
5 represent Sierra Club. And then in the Public
6 Utilities Commission's Transportation Electrification
7 proceeding for the IOUs we're representing ECR
8 Communities for Environmental Justice and the Center
9 for Community Action and Environmental Justice, two
10 environmental justice groups in Southern California.

11 So I'm going to be speaking kind of broadly
12 about the issues that we've seen representing all of
13 those different groups. The reason that we and our
14 clients care about this issue so much is, first of
15 all, the issues that were raised by people from the
16 San Joaquin Valley Air District and the South Coast
17 Air District, and ARB that -- to meet air quality
18 standards we're going to need to transform the
19 transportation system.

20 And then also, on a more localized level,
21 the fact the communities of color are living in areas
22 that are highly impacted by freight pollution is a
23 result of environmental racism, and we see this
24 opportunity to transform the transportation sector as
25 an opportunity the POUs have to address those issues

1 of environmental racism California in a direction
2 that I think we all want to take it.

3 So we think this is a really exciting
4 opportunity to be involved here, and see this other
5 place where a lot of progress can be made. I have
6 four different points that we just had, based on the
7 Draft Staff Paper.

8 The first is that I know the Staff Paper
9 says at least one scenario should highlight meeting
10 the policy goals. We would say that, you know, all
11 or all but one should highlight meeting those policy
12 goals, because if you're -- you know -- if you're not
13 planning to meet them, then we're planning on
14 failure, almost, and we don't want to do that.

15 Our second point would be that the IRPs
16 should include both a quantitative as well as a
17 qualitative analysis of the results of efforts to
18 address air quality in disadvantaged communities. I
19 see the qualitative pieces there and that's very
20 important, but there's also a need for quantitative
21 benchmarks to show where we're making progress.

22 It'll be hard to figure out whether we're
23 succeeding and what, you know, changes need to be
24 made if we don't have quantitative, as well as
25 qualitative analysis of that effort. The third is

1 that the IRPs should describe how much of their
2 investments in Transportation Electrification are
3 being made in disadvantaged communities or in places
4 like the ports that are adjacent to disadvantaged
5 communities.

6 We need that information, again, to show,
7 you know, what investments are really being made to
8 specifically target the areas that are most impacted
9 by freight emissions. And then finally, my last
10 point on the Draft Staff Paper is that using
11 CalEnviroScreen is, you know, a great idea.

12 It's not perfect, but it's been vetted.
13 It's, you know, the thing that's consistent and
14 consistency, as everyone else mentioned, is very
15 important in this effort. And then one of the
16 questions that Noel and Tim raised was thinking about
17 data and analyses that have been helpful for
18 informing our advocacy.

19 And I wanted to just shout out, I guess, a
20 couple of things that might not have already been
21 covered, again, echoing I guess -- echoing the Air
22 Districts that the air quality plans they've put
23 together have been very important for us in
24 identifying the need.

25 Also, the Multiple Air Toxics Emission

1 Exposure Study that South Coast does has been very
2 important for us for identifying the need for
3 addressing particularly diesel particulate matter and
4 other carcinogens in South Coast.

5 ARB's also done those kinds of studies in
6 different areas that are impacted by freight across
7 the state, and those are really important resources.
8 Also, the communities that are most impacted have, in
9 many places, been trying to do their own monitoring
10 and been, you know, successful in getting funding and
11 support for those monitoring efforts.

12 And I think it's important for all the
13 people involved in this process to be aware of that.
14 Just as a couple of examples, Comite Civico Del Valle
15 is in Imperial Valley and they've been monitoring
16 their own, you know, local air quality for I think
17 the past couple of years, and they've had a lot of
18 success with that.

19 And then the West Oakland Environmental
20 Indicators Project, which is a group that's based on
21 West Oakland near the Port of Oakland, just started a
22 community monitoring project with EDF, the
23 Environmental Defense Fund and Google, monitoring air
24 quality at a very, very local level.

25 And so partnering with those kinds of

1 efforts to see, can show how the efforts and the
2 investments that POU's are making are affecting the
3 communities that they're serving. I'd also say, I
4 mean, just on a -- in terms of the qualitative data,
5 talking to the communities that are most impacted is
6 very important.

7 The community groups that we work with, East
8 Yard Communities for Environmental Justice and Center
9 for Community Action Environmental Justice are two
10 good examples, but then there are groups all of the
11 state. You know, I'd recommend that the utilities
12 get in touch with the groups that are within their
13 regions.

14 I feel like there will be a group in every
15 region that people should be communicating with and
16 trying to see how these efforts are actually playing
17 out on the ground. And then there are a couple of
18 reports that haven't already been mentioned.

19 The Union of Concerned Scientists did a
20 report on buses and trucks and electrification that
21 we found very helpful. And then also, a coalition
22 that are our clients and we are a part of, the
23 California Clean Air Freight Coalition put out a
24 report I think two years ago or a year and a half ago
25 about that coalition's vision of a sustainable

1 freight system for California, and that includes both
2 environmental groups, environmental justice groups,
3 public health groups.

4 So it shows what we would like to see and
5 kind of outlines the areas that we're excited about
6 in terms of, you know, opportunities for
7 electrification soon and now, soon in the -- you know
8 -- hopefully, not too distant future.

9 So those are the various types of data that
10 we found helpful, and thank you again for the
11 opportunity to speak.

12 MR. OLSON: Thank you, Nike, and that kind
13 of reminds me of another comment. We're very
14 interested in getting some of the studies that were
15 referenced here in our docket. You can either do
16 that through e-filing or send it to Noel or me and
17 we'll do that; and of course, your written comments
18 if you have any in our docket, too.

19 So Commissioners, you have -- turn it over
20 to you for some quick questions.

21 CHAIRMAN WEISENMILLER: Yeah. Let me just
22 start off with a couple questions. First, I just
23 wanted to thank Fran again for being here, or at
24 least now for being part of this, although not being
25 here. We would have preferred that.

1 MS. INMAN: I tried.

2 CHAIRMAN WEISENMILLER: I guess putting on
3 your CTC hat, you know, obviously, we're talking
4 about really significant investments in this state's
5 infrastructure as we try to move to zero emissions.
6 How does it fit into where we stand on our
7 infrastructure -- highway infrastructure investment
8 at this stage?

9 I mean, how far -- well, CTC, as you said,
10 does everything but high speed rail, but you know,
11 realistically, how do we add more infrastructure
12 needs into that overall equation? You still there,
13 or did I leave you speechless for once?

14 MS. RAITT: I think we muted her. Could you
15 unmute Fran? Is Fran unmuted?

16 CHAIRMAN WEISENMILLER: She was --

17 MS. INMAN: Hello?

18 CHAIRMAN WEISENMILLER: Hello. There you
19 are.

20 MS. INMAN: There I am. Okay.

21 CHAIRMAN WEISENMILLER: Yeah.

22 MS. INMAN: I was talking away.

23 CHAIRMAN WEISENMILLER: That's what I
24 figured.

25 MR. OLSON: I don't know.

1 CHAIRMAN WEISENMILLER: Particularly on
2 transportation infrastructure.

3 MS. INMAN: It's not like me to be quiet.

4 CHAIRMAN WEISENMILLER: Right.

5 MS. INMAN: Yeah. The challenge is we have
6 been mostly underfunded on transportation
7 infrastructure for a long time. The current push,
8 and you know, thankfully, we did have SB 1 that was
9 passed, was trying to help us get back to at least a
10 state of good repair and do a little bit of catch up,
11 but we still, you know, we have huge needs, in my
12 opinion.

13 And then if we add on the transformative
14 nature of what we're trying to do, that to me is just
15 all the more reason that we probably need some big
16 investments, because I think that it's going to be
17 expensive to migrate over.

18 And so how do we do that? How do we keep
19 our effectiveness in terms of a third of our economy
20 is driven by this sector. So I don't think we
21 necessarily want to, you know, do harm to that
22 sector.

23 And so what I think we have to do is really
24 get solution oriented and say, how can we get this
25 done, and how can we get it done in a very cost-

1 effective way. Where does it make the win, win, win,
2 win sense in terms of, you know, reducing the impacts
3 from the emission and increase our competitiveness,
4 improve our efficiency?

5 I think, you know, some of these things that
6 we might do, we might solve one problem, but we
7 create three others. So I think that's a big
8 challenge for us, as well. But clearly, I think it
9 was not without some significant investments.

10 CHAIRMAN WEISENMILLER: Yeah. I guess I'll
11 start with you, but certainly encourage everyone to
12 chime in on the next question, which is, you know,
13 looking at the overall goods movement issue, and
14 again, well, for now we can talk more about the L.A.
15 Basin's questions, since you know, many of you are
16 tied here.

17 But looking at everything that's on the
18 table now, what are the -- what's the missing pieces
19 that the POUs could or should help there on?

20 MR. CANNON: Well, could I just pick up on
21 Fran -- this is Chris Cannon. Mr. Chairman, I just
22 want to pick up on Fran's comment and just underscore
23 it. Comprehensive goods movement planning and we
24 have to do that.

25 The amounts of money and the industries that

1 are touched by the efforts that we're going to have
2 to undertake over the next decade and more are huge,
3 and the only way for us to do this and do it without
4 wasting money or getting stranded assets or having
5 people, you know, go down a path to then only decide
6 that, oh well, we aren't going to go there, is to
7 plan.

8 And so once again, appreciate your efforts
9 today to have these kinds of discussions with the
10 utilities, but the entire industry has to be part of
11 this and it has to start immediately. And I just
12 really want to make that point, because it's so very,
13 very, very important.

14 And the points made by Earth Justice here,
15 just as much, I mean, the stakeholders such as the
16 justice communities and so forth have to be part of
17 that discussion, as well.

18 MR. VAN AMBURG: I would just add a couple
19 thoughts. I think we need to -- I definitely think
20 we need to plan, and that's one of our key comments,
21 so we can get a sense of what's coming, when it's
22 coming, what we need to be ready for.

23 By the same token, I think we can do a lot
24 from the utility level to walk before we run. I
25 think we're at the stage now where we're -- most of

1 the applications that make the most sense for
2 electrification are going to be in the medium-duty,
3 return to base kind of fleet scenarios.

4 That can be delivery. That can be shuttle
5 bus. Obviously, it's been in transit. That gives us
6 a tremendous experience base over the next five plus
7 years to really get the sense of how to get the
8 infrastructure in, what is the cost, how can we
9 standardize around some key installation designs.

10 So I think all of that will be really
11 important. I think, you know, when I see -- for
12 instance, I've talked to Marvin a lot because we're
13 about to put an electrified cargo handler, top pick,
14 at the Port of L.A., in a CEC-funded program, which
15 is very cool.

16 That's a great learning experience because
17 nobody's really done that before. So that's a great
18 application to start giving us learning, but we'll
19 get more volumes in the early stage around kind of
20 these medium-duty, return to base, known routes
21 patterns.

22 And by the time the really heavy stuff does
23 start to come online we'll have gained this
24 experience base. So I think to encourage the long-
25 term planning, but then the short-term meddling to

1 make sure that we really start getting these things
2 out, getting experience with it, really helping the
3 customers knock down the barriers now, so we know
4 what the bigger problems will be as we start to get
5 into the heavier applications.

6 And I would just add one clarification to an
7 earlier point I made. I talked about this three-year
8 investment plan that the ARB's developing for heavy-
9 duty. They actually have not yet set their workshop
10 for that. It was hopefully going to be sometime in
11 May.

12 MR. CANNON: If I may just add, that we've
13 taken the approach -- the port keeps getting
14 mentioned here -- we've taken the approach of
15 developing or moving toward electrification based on
16 the state of the technology of each of the pieces of
17 equipment.

18 Some of the technologies for the equipment
19 is moved further and some of it's a little bit
20 behind. And so based on that we try to focus on
21 areas we think we can have the best of impact, also
22 based on areas that we think are going to be most
23 utilized.

24 And the infrastructure to support those sort
25 of prioritized areas I think are some quick wins.

1 You mentioned the top handlers. Top handler's
2 probably the most versatile and used piece of
3 equipment at a port.

4 It does all kinds of things, and if we can
5 find a way to electrify those and find a way to have
6 infrastructure to support it, there's a quick win.
7 But it isn't easy. Just to give you an idea, the top
8 picks that are being developed, the battery for one
9 of them is one megawatt.

10 I've never even seen a battery that's one
11 megawatt, but that just gives you an idea of the slow
12 development of battery technology, that they have to
13 build a battery that's that big and it's huge. It
14 weighs many, many tons, thousands of tons, and so
15 just to give you an idea of what we're talking about.

16 MR. VAN AMBURG: Well, Chris raises a good
17 point and this is where the creative meddling gets
18 in, because one of the other top picks will use a
19 much smaller battery pack, but will opportunity
20 charge throughout the day, kind of the way the
21 Proterra buses have been operating on the road.

22 But that creates a different issue in terms
23 of grid impacts and demand charges during the day.
24 So we're at a really good point of this creative
25 experimentation on those segments. And it is a great

1 segment, by the way, for targeting, because it's a
2 huge user of fuel from a climate change perspective
3 and from an emissions perspective.

4 MS. ADEYEYE: The one last thing I would
5 add --

6 MS. INMAN: This is Fran -- oh, I'm sorry.
7 Go ahead.

8 MS. ADEYEYE: One quick thing -- sorry,
9 Fran. Just going off what yo both were saying, I
10 think that there are gaps in enthusiasm about this.
11 Like you both sound very enthusiastic, which is
12 great, but I think that there is some reluctance and
13 some fear around moving forward, and I think that
14 it's important for all of the utilities to kind of
15 follow as easily.

16 They said that one of their goals is to
17 provide that market certainty, and I think that the
18 other utilities need to be providing that certainty,
19 showing that we really want to invest in this so that
20 these technologies do kind of fall in line.

21 CHAIRMAN WEISENMILLER: Yeah. But again,
22 I'm sort of -- probably all of you, including Fran,
23 but obviously, you've got -- it's an L.A. community.
24 Now, the good news is Edison's pushing hard, but it
25 seems like at some point you have to have all the

1 pieces in place, you know; not just Edison, but
2 LADWP, all the POU. You know, I mean, it's got to --
3 how do you get there? Yeah.

4 MR. VAN AMBURG: Well, it's a good point,
5 Mr. Chairman, and I think -- and the L.A. Basin is
6 one example. So you did have a couple of the
7 utilities, Edison, but also on the private side,
8 LADWP is really doing some very creative things right
9 now, which I'm impressed with.

10 The ports are pushing ahead in their own way
11 and then working with their tenants to see how to
12 drive things faster with the Air District. But I
13 think what we need is to start getting successes.
14 Chris mentioned, you know, on the port side there's a
15 couple of places that we could get successes.

16 I do think we need to get a good experience
17 level with the technology where it succeeds and
18 builds a good business case. People see it in
19 operation. That builds the acceptance to take it
20 into newer and additional applications.

21 It also frankly builds the supply chain so
22 that you actually have the component manufacturers
23 and the vehicle manufacturers able to then produce
24 these vehicles at quality levels with competitive
25 prices.

1 So we need to start building out the
2 capability to provide these systems. And I think
3 rolling it out in the right sequences so that we get
4 these vehicles out there. We get experience. We
5 start to build the volumes, and then it can extend
6 into these additional marketplaces.

7 It's really going to be a critical part of
8 the success for the utilities to learn as they go and
9 to provide that assistance, as well as for the
10 manufacturers and users to get some experience and
11 comfort with the technology.

12 COMMISSIONER SCOTT: I was going to jump in
13 here, as well. I think that there was a theme
14 throughout both the first panel and your panel that
15 we are potentially in a place where we might end up
16 behind a little bit on the medium-duty and heavy-duty
17 space, and this is obviously much broader than the
18 IRP Guideline.

19 But I would be interested, and this is a big
20 question to you, so maybe just a high level thought,
21 and then if you have a chance to write more details
22 down, but what thoughts do you have about how we can
23 -- what actions do we need to take to catch up.

24 You know, and I think I heard Chris mention
25 that we need a standardized plug. And Bill, you

1 mentioned that we've got to potentially start with
2 medium-duty, return to base types of vehicles. And
3 so you guys have, as we've been discussing, thrown
4 out some ideas about how we kind of start taking
5 action to bite off this bigger medium-duty, heavy-
6 duty piece. But I think that's an important
7 consideration for us, as well.

8 MR. VAN AMBURG: Yeah. And again, I would
9 go back and -- Chris mentioned it, the planning -- I
10 do think we need to have a visualization of where we
11 need to go and get a handle on what can be these
12 future demand areas, where will they be located.

13 This will really help the utilities, and I
14 don't think they can or maybe should do it alone.
15 And I think it should be part of the larger planning
16 effort. I think the CEC would be the ideal agency to
17 help either fund or lead that.

18 But I think we need to do that to understand
19 a good sense of where the vehicles or equipment will
20 start to roll out on what timing, what will be their
21 load demands, and then we can start really
22 understanding what the utilities need to be able to
23 do on what timing and where to support that.

24 MR. CANNON: I would just add, one of the
25 things that we found is that one of the biggest

1 limiting factors, especially for on road, zero
2 emissions and our desire to move toward that, is the
3 infrastructure to support the equipment.

4 So when you have an on road electric, heavy-
5 duty truck, as I said, it's range is limited. But
6 not only is its range limited, but there's very few
7 places for it to plug in when it gets away from home.
8 So you get the whole range anxiety thing.

9 And then if it breaks down, where do you
10 take it? Do you got to drive it 100 miles back to
11 its base or is there a place where you can have it
12 repaired. So the effort to try and have the
13 beginning at least of a network of infrastructure to
14 support zero emissions, and I have to say near zero
15 emissions, because those are going to have to play a
16 role, least as transition technologies.

17 That would be great, and man, we need your
18 help, because that's kind of what you guys are all
19 about, is the Energy Commission is trying to figure
20 out how to do that. And so that limits what you can
21 do, and certainly, your help in that regard would be
22 great.

23 MR. VAN AMBURG: And you have such a broad
24 portfolio, and I think thinking about how to use it,
25 both on the utilities space -- you were already

1 investing into the demonstration space -- we would
2 certainly encourage this.

3 This isn't the platform for it here, but I
4 think you should continue your investments into the
5 medium and heavy-duty electrification demonstration
6 area. I think range extended or hour extending
7 technologies, which would be power packs that you can
8 put on board, whether engine driven or fuel cell
9 driven, to give additional range to heavier
10 equipment, is a really big area of investment that I
11 think would be powerful for the CEC to fund right
12 now.

13 COMMISSIONER SCOTT: I think that's a good
14 point. I would weigh in here that we have focused
15 primarily on plug-ins, but there are lots of other --
16 near zero technologies, fuel cell technologies that
17 we are also very mindful of.

18 The focus has been mostly on plug-ins,
19 because that's what the utilities are looking at as
20 part of this. But I want to make sure that people
21 don't think we've forgotten the other technologies.
22 Go ahead, Hannah.

23 MS. GOLDSMITH: Oh, yeah. I would repeat
24 what Bill said as far as what's most important and
25 what CalETC spends a majority of our time on is

1 incentive funding, whether that's the ARFVTP Program
2 or GGRF or air quality funding, to get -- if yo go to
3 a fleet and they have a very limited budget,
4 especially with public fleets, if you're going to
5 convince them to go from what they know and what
6 their mechanics are trained to work on, to something
7 brand new that requires different infrastructure,
8 different mechanics, everything, or retraining,
9 funding is absolutely essential to overcome both the
10 mental and monetary barriers there.

11 MR. VAN AMBURG: I would say that, you know,
12 you do have manufacturing dollars that you have used
13 in the program. I think it might be good to broaden
14 and create, maybe some of those dollars could support
15 service centers, regional service centers for the
16 vehicles. That could align with job training, which
17 would be good.

18 And to Chris's point, it is true, we do need
19 these companies to put more of these distributed
20 service and parts centers around our regions to
21 support the equipment when they get out there. And I
22 think that would be another possible good use of
23 Energy Commission funds.

24 COMMISSIONER SCOTT: Yeah. We do have a
25 workforce training component to our program, as well,

1 that we can look at. Let me -- Fran was trying to
2 say something a little bit ago. Fran, if you're
3 still there and you'd like to say it, please jump in.

4 MS. INMAN: Well, I was just fascinated by
5 the creative meddling concept, and I think for all of
6 us to kind of put that hat on and think about, from
7 what we do every day, and then also trying to
8 understand what the other guy's trying to solve,
9 that's where we really can find those solutions.

10 So I mean, success breeds success. So I'm
11 really anxious for us to get some successes under our
12 belts, and I do think that -- you know -- I keep
13 describing it as an orchestra with no conductor and a
14 lot of first violins, and we try to play music.

15 And I think with our energy partners
16 involved that's even expanded. And so we have to
17 really, I think, try to do that creative meddling and
18 think about, you know, some of the discussions that I
19 heard about the pricing and stuff.

20 I mean, if I'm wearing one hat, my solution
21 to my problem might be the pricing, but it could be
22 driving the adverse behavior from the other guy. So
23 I think, you know, how do we get, do we call it
24 balanced creative meddling or, you know, how do we
25 open those dialogues so that we can really figure out

1 wherein the opportunities for the early success lie,
2 because I don't know, a one megawatt battery, how
3 you're going to haul that around.

4 (Laughter)

5 MR. CANNON: The only way it works is that a
6 top handler has to have a lot of ballast in order to
7 lift up a very heavy container, and so when you have
8 a lot of ballast, fortunately, a heavy battery works
9 for you. That's probably the only way you can do it
10 there.

11 MS. INMAN: Okay. Bring on those big ships.

12 MS. RAITT: So it is getting late in the
13 day. I don't know if you have more questions,
14 Commissioners, or? Okay.

15 COMMISSIONER SCOTT: We could talk about
16 this all day, but.

17 MS. RAITT: Yep. So if that -- if we can
18 close this panel, I'd like to thank our panelists and
19 our moderator, and we can move on to public comment.

20 CHAIRMAN WEISENMILLER: Yeah. Certainly, we
21 encourage you to do written comments. We'd love to
22 build off of what we have talked about this
23 afternoon. And obviously, the more you can focus on
24 the Guidance, that'd be great.

25 So going to public comment, we have one blue

1 card. San Diego Airport Parking. Please.

2 MS. MCGHEE: Good afternoon. My name's
3 Lisa. I am with San Diego Airport Parking Company,
4 and we adopted SEV fleets in May of 2015. So I can
5 actually speak from an end-user's perspective on the
6 commercial side, and can echo so many things that I
7 heard today in this meeting.

8 Our commercial vehicle volume population per
9 ARB's 2017 Impact, the Class 2b is 51 percent, the
10 Class 3 is 11 percent and the Class 4 through 7 is 22
11 percent, and the Class 8 is 17 percent. The most
12 popular commercial vehicle is the 2b van at 51
13 percent, and it encompasses several vocations of
14 shuttles, freight, para-transit, non-profits.

15 The inventory on the HVIP includes one 2b,
16 hybrid van. The Class 3 has three choices. So and
17 when you move into low NOx today there's no choices
18 in the Class 2b and 3 van and shuttles. And I say
19 that because that gives us an alternative to go back
20 to fossil fuel vehicles.

21 Targeting the ZEV vehicle procurement
22 process is really important, and that's what we do
23 all day long in Transportation. We do know when
24 we're going to procure and we do that based off of
25 aging of our fleets.

1 And every fleet and sectors are different.
2 The aging of the fleet's vehicles, light-duty, is
3 averaging 11 years. Heavy-duty is anywhere from 12
4 to 20 years. Medium-duty, four to 12 years and FTA
5 funded vehicles is a 12-year minimum.

6 Airport ground transportation operators is
7 every two to five years. The vehicle miles traveled
8 annually affects emissions and the savings
9 opportunity. The light-duty is 12,000 miles,
10 delivery trucks, 15,000, para-transit and refuge is
11 25,000.

12 The transit buses is 35,000. The Class 8
13 trucks is 70,000. Ground transportation airport
14 shuttles is 50 to 80,000 miles per year. The
15 population and volume of the number of vehicles does
16 not translate into the same regarding emissions.

17 Light-duty is the most popular vehicle on
18 average by 30 percent or more. However, the amount
19 of fuel is 25 percent more by commercial vehicles and
20 NOx is 80 percent more, and is per EMFAC's 2014
21 database on ARB.

22 Our fuel regulation standards have adopted
23 efficiency standards for each vehicle mile traveled,
24 but what is the standard or requirement for kilowatt
25 hour. This affects commercial fleet operations as a

1 cost of a kilowatt hour, and the amount of kilowatt
2 hours per mile influences the investment.

3 Modeling other resources such as renewables
4 for charging infrastructure will affect fleets --
5 will attract fleets into SEV procurement, as this
6 modeling equals a benefit. Transportation fleet
7 operators are required to purchase thousands and
8 millions of gallons of fuel annually.

9 When displaced with kilowatt hour it needs
10 to be a benefit. Otherwise, the effects are the
11 following: four cents more per mile on the following
12 fleet sizes annually. A small fleet of six buses,
13 like myself, would equal -- at four cents more would
14 equal \$12,000 more dollars per year annually for
15 240,000 annual miles; a fleet of 100 buses at
16 \$200,000 more per year for 5 million miles.

17 Renewable with solar and storage can be
18 integrated to support the grid at peak time and lower
19 the demand rates. Let's require commercial operators
20 to charge at peak time with renewables. The light-
21 duty and commercial Transportation Electrification is
22 really black and white in every way.

23 It is very complex and that is the reason
24 why we are behind with commercial electrification,
25 due to the very vast differences. Our daily vehicle

1 miles traveled exceeds the vehicle range. The speed
2 of charging requires the option of fast charging in
3 order to top off during the day to stay on the road.

4 The amount of power, specifically three-
5 phase, 480 volts, is not always available on the
6 property. Demand kilowatt fees cannot be avoided due
7 to both vehicle miles traveled and speed of charging.
8 These barriers can be mitigated with more
9 demonstration of advanced technologies incorporated
10 with renewable charging.

11 However, the ZEV commercial vehicle
12 inventory is too limited today to adequately even
13 support the most popular commercial vehicle today,
14 which is the 2b van. Chris has mentioned some of the
15 regulation standards, and I will echo that largesse
16 of experience than myself.

17 The EV manufacturing and vehicle
18 technologies has great concerns.

19 MS. RAITT: Excuse me. I'll just say that
20 we are out of time. If you --

21 MS. MCGHEE: Okay.

22 MS. RAITT: We welcome written comments.

23 MS. MCGHEE: Oh, I'm sorry. Okay. So
24 again, my point would be is that we don't have any
25 regulations for safety standards. There's no LBD

1 sharing. There's no durable life and useful
2 standards.

3 These are components -- we need components
4 that won't affect our defects in regulations. And to
5 sum it up, the commercial vehicles are different than
6 light-duty. We have no commercial lemon law in
7 vehicles.

8 So we really do need to have more
9 demonstrations to create more solutions to support
10 the SEV commercial sector. Thank you.

11 MS. RAITT: Thanks.

12 CHAIRMAN WEISENMILLER: Thank you. Thanks
13 for being here. McKinley Addy.

14 MR. ADDY: Thank you, Commissioners and
15 Chairman. My name is McKinley Addy, and I'm with
16 AdTRA, a virtual integrator of low carbon, high
17 efficiency technologies at scale, relying on private
18 capital and less on government incentives.

19 My comment address one area about the
20 reliable operating data that relate to the certainty
21 expected from medium and heavy-duty EVs with respect
22 to the GHG and criteria reduction benefits. Data,
23 data, data is one takeaway from the conversations
24 today, as the IRP considers the POUs and their
25 Transportation Electrification planning for GHG

1 reduction benefits.

2 To the extent that medium and heavy-duty EVs
3 make up a portion of the POU GHG reduction strategy
4 in California's overall transportation sector GHG
5 reduction, there needs to be confidence around
6 expected reductions.

7 One feedback that I'd like to provide here
8 is that care and caution in the treatment of the GHG
9 benefits of medium and heavy-duty EVs in the IRP, and
10 perhaps more broadly, needs to be taken to account to
11 avoid overstating benefits and disproportionate
12 investment of scarce dollars for uncertain benefits.

13 And here are a few areas we found that can
14 answer Commissioner Scott's question, what actions
15 can be taken. One, to address these data needs we
16 found that there's very little in the peer review
17 technical literature on medium and heavy-duty EVs.

18 There's been much talk about the need to
19 share data, and one way to do that is for a lot of
20 the agencies or entities that have operational data
21 to think about peer review publications. Giving some
22 operation of BV transit buses and a few electric
23 trucks, some have been funded by the Energy
24 Commission, there needs to be we think a focus on
25 getting some of that information out there through

1 the peer review publication process.

2 The availability of this type of data will
3 help answer questions on reliable operation of time
4 and utilization of medium and heavy-duty EVs.

5 Another quick area that I'd like to point out is that
6 when the medium and heavy-duty EVs that are out there
7 phase down time because of a breakdown in equipment,
8 sometimes the end-users have to replace these EVs
9 with fossil fuel or diesel equivalents.

10 And a question that arises is, how is the --
11 or are the emissions associated with the replacement
12 vehicles to be treated in balancing the benefits from
13 the medium and heavy-duty vehicles? Successful
14 implementation or successful performance of medium
15 and heavy-duty EVs and the operating data
16 availability are critical to TE, Transportation
17 Electrification implementation success, and we'd
18 encourage the Energy Commission to find ways to get
19 some operating data out there from the millions of
20 dollars that the Agency is spending. Thank you.

21 CHAIRMAN WEISENMILLER: Thank you. Thanks
22 for being here. Matt Williams.

23 MR. WILLIAMS: Matt Williams, California Air
24 Resources Board. First of all, thank you for hosting
25 this Workshop. I think we got around to a lot of

1 interesting and pertinent topics. Right now, where
2 we are in this process is still very high level.

3 So it's important that we figure out the
4 scope of how the POU's will integrate TE into their
5 IRPs. This is where we solve problems like the
6 inclusion of hydrogen, which to the utility largely
7 looks the same as charging electric -- battery
8 electric vehicles.

9 The power drop is still there. One of the
10 benefits of hydrogen is that it also is -- can be
11 used as a storage mechanism for V2g. As an
12 electrolyzer, using grid electricity can be
13 generating hydrogen when there's excess solar on the
14 grid and the vehicles aren't there, which you can't
15 do with battery electric vehicle charging if the
16 vehicles aren't at the depot.

17 So there's a lot of these high-level issues
18 that we need to work out now. And in insuring that
19 we continue to move in the right direction, when we
20 start talking about what kind of programs the
21 utilities can invest in, we need to make sure that
22 we're looking at needs-based programs, and that needs
23 to be defined in two ways.

24 The benefit needs, which is how we identify
25 what needs to be targeted, where does the money need

1 to go. And those needs are prescribed by state
2 goals, federal, local goals for petroleum reduction,
3 air quality improvements, et cetera.

4 And then the program design needs to be
5 based on the needs of the end-user. And it's
6 critical that the utilities actually reach out to the
7 end-users that will be using this program, be in
8 touch with the fleets, figure out what their
9 operations look like before they start designing
10 programs.

11 Eric Seilo from Edison, can talk about this
12 a lot. They worked hard to be in touch with their
13 customers to understand what their fleets will need
14 and to make sure that the programs that are designed
15 will suit their needs and will be used.

16 All this insures the effectiveness of POU
17 investments in Transportation Electrification and
18 make sure that there will be uptake of the programs.
19 Thank you.

20 CHAIRMAN WEISENMILLER: Thank you. Any
21 other public comment, either in the room or on the
22 line?

23 MS. RAITT: Well, we did get a few
24 questions, and unfortunately, we're not really set up
25 for Q and A, but I'll just read them for the record.

1 CHAIRMAN WEISENMILLER: Fine.

2 MS. RAITT: So first is from -- and I do not
3 know how to pronounce his name. I'm sorry. Rajit
4 Gadh, from UCLA, and his -- he had two questions.
5 One was towards Tony Brazil's presentation. He said,
6 "I may have missed the reason for this, but why is
7 the cost per kilowatt hour different."

8 His second question is, "What is the thought
9 of the panel regarding V2g with buses and trucks?"
10 That was I believe the first panel. We also got two
11 comments from Leslie Goodbody. The first one was,
12 "Correction for Bill from SMUD on the Sacramento
13 School Bus Project, 29 school buses at three
14 districts. It is funded through the Greenhouse Gas
15 Reduction Fund, which is part of the California
16 Climate Investments funded through the Cap and Trade
17 Auction Proceeds, not Prop 1a" -- "1b," excuse me.

18 And her second comment was, "Please note
19 that the ARB Work Group that Bill Van Amburg of
20 CALSTART mentioned for May 9th is postponed. A new
21 date will be announced later." And I think -- okay.
22 So that's what we had. I don't think anyone else on
23 WebEx. So I think that closes the public comments.

24 CHAIRMAN WEISENMILLER: Actually, I was
25 going to thank everyone. The one note I was going to

1 raise, you know, in terms of we have a lot of
2 different things going on in the 350 context, and one
3 of them is -- the good or bad news -- is that after
4 for at least a decade we're finally looking at our
5 data collections rates, also.

6 And as you might imagine, a lot has changed
7 in energy space in that period of time, and so is
8 more obviously looking at the data -- underlying data
9 we need, some of which is transportation. We're
10 doing that more in a phased approach.

11 So along with the Guidelines, is the data
12 collection reform, and I think a lot of the
13 transportation data parts looking forward will be
14 more in Phase Two, which will really kick up next
15 year. But anyway, just to help people get a sense of
16 the overall roadmap.

17 COMMISSIONER SCOTT: So I just -- I wanted
18 to say thank you to the folks who are left in the
19 room. You guys gave us a lot to think about. I
20 really appreciate our panelists spending their
21 afternoon with us, bringing their best thoughts and
22 their expertise to the Commission.

23 So thank you to all of our speakers today,
24 and of course, I want to say thank you to Noel and
25 Tim for organizing yet another thought-provoking and

1 interesting workshop. And of course, thank you to
2 our IEPR team, who always runs a smooth and
3 delightful workshop. So thank you all and with that
4 I think we're adjourned for the day.

5 (Adjourned at 5:05 p.m.)


6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 9th day of May, 2017.



PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 9th day of May, 2017.



Elizabeth Reid-Grigsby
Certified Transcriber
AAERT No. CET**D-145