

EFFICIENCY COMMITTEE WORKSHOP
BEFORE THE
CALIFORNIA ENERGY RESOURCES CONSERVATION
AND DEVELOPMENT COMMISSION

In the Matter of:)
2008 Rulemaking on Load Management)
Standards) Docket No.
Implementation of Public Resources) 08-DR-01
Code Section 25403.5)
-----)

CALIFORNIA ENERGY COMMISSION
HEARING ROOM A
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

TUESDAY, APRIL 29, 2008

10:07 A.M.

ORIGINAL

Reported by:
Peter Petty
Contract No. 150-07-001

| | |
|--------------------------|-------------|
| DOCKET 08-DR-1 | |
| DATE | APR 29 2008 |
| REC'D. | MAY 13 2008 |

COMMISSIONERS PRESENT

Jackalyne Pfannenstiel, Presiding Member

Arthur Rosenfeld, Associate Member

ADVISORS PRESENT

Timothy Tutt

STAFF PRESENT

David Hungerford

Mike Gravely

Gabriel Taylor

ALSO PRESENT

Rachelle Chong, Commissioner
Andrew Campbell, Advisor
California Public Utilities Commission

Walt Johnson, California Independent System
Operator

Richard Schomberg
Electricite de France

Eric Lightner (via teleconference)
Department of Energy

Terry Mohn
San Diego Gas and Electric Company
GridWise Alliance

Tom Bialak
San Diego Gas and Electric Company

Michael Montoya
Southern California Edison Company

Andrew Tang
Pacific Gas and Electric Company

ALSO PRESENT

Craig Kuennen
City of Glendale Water and Power

George Chen
Los Angeles Department of Water and Power

Jim Parks
Sacramento Municipal Utility District

Lon House
Association of California Water Agencies

Mark McGranaghan
Electric Power Research Institute

Harold Galicer
SeaKay

Erich W. Gunther
EnerNex

I N D E X

| | Page |
|---|------|
| Proceedings | 1 |
| Introductions | 1 |
| Opening Remarks | 1 |
| Presiding Member Pfannenstiel, CEC | 1 |
| Associate Member Rosenfeld, CEC | 3 |
| Commissioner Chong, CPUC | 3 |
| Overview/Background | 9 |
| PIER Research on Smart Grid | 11 |
| California Energy Commission | 11 |
| National Approach to Smart Grid - 2007 Energy Act | 65 |
| Department of Energy | 65 |
| Smart Grid Impact on CA-ISO | 26 |
| California Independent System Operator | 26 |
| International Activities in Smart Grid | 41 |
| Electricite de France | 41 |
| Afternoon Session | 97 |
| Panel Discussions | 98 |
| IOU Smart Grid Activities | 98 |
| San Diego Gas and Electric | 98 |
| Southern California Edison Company | 122 |
| Pacific Gas and Electric Company | 135 |
| Questions/Comments | 156 |

I N D E X

| | Page |
|---|------|
| Panel Discussions - continued | |
| Muni and POU Smart Grid Activities | 182 |
| Glendale Water and Power | 182 |
| Los Angeles Department of Water and Power | 186 |
| Sacramento Municipal Utility District | 192 |
| Questions/Comments | 197 |
| Public Comment | 200 |
| Association of California Water Agencies | 200 |
| Electric Power Research Institute | 206 |
| SeaKay | 211 |
| EnerNex Corporation | 216 |
| Closing Remarks | 219 |
| Commissioner Chong, CPUC | 219 |
| Associate Member Rosenfeld, CEC | 220 |
| Presiding Member Pfannenstiel, CEC | 221 |
| Adjournment | 222 |
| Certificate of Reporter | 223 |

1 P R O C E E D I N G S

2 10:07 a.m.

3 PRESIDING MEMBER PFANNENSTIEL: This is
4 the Energy Commission Efficiency Committee
5 workshop on the load management standards. This
6 is the first of what will be five workshops on the
7 general area of load management standards, as the
8 Energy Commission, in collaboration with the
9 Public Utilities Commission, works to make sure
10 that we have in the state demand response measures
11 that are effective and efficient, and in fact,
12 meet both the needs of the customers and the needs
13 of the systems.

14 I'm Jackie Pfannenstiel; I'm the Chair
15 of the Energy Commission, and the Presiding
16 Commissioner on the Efficiency Committee. To my
17 right is Commissioner Rosenfeld, who is the
18 Associate Member of the Efficiency Committee.

19 And we are honored to have with us today
20 Commissioner Rachelle Chong from the Public
21 Utilities Commission, who's been the lead
22 Commissioner there on this effort.

23 To my immediate left is my Advisor, Tim
24 Tutt. And to Commissioner Chong's left is her
25 Advisor, Andy Schwartz --

1 MR. CAMPBELL: Campbell.

2 PRESIDING MEMBER PFANNENSTIEL: -- I'm
3 sorry, Campbell. Too many Andys.

4 And I think that we have a pretty full
5 day with some very interesting discussions of a
6 smart grid. So, we're starting the consideration
7 of the load management standards with the very big
8 picture, which is the grid of the future.

9 And we'll have a number of
10 presentations. And as I looked through the
11 slides, I can assure you that every presenter has
12 a different vision of what this grid of the future
13 will be, although the visions are not necessarily
14 contradictory, they emphasize different features
15 of it.

16 There's a real urgency to addressing
17 smart grids at this time as we take on the whole
18 general question of demand response. The urgency
19 is driven partly by the fact that the utilities
20 are in the process of putting in advanced meters.
21 And we want to make sure that those are going to
22 connect with the future grid in a way that makes
23 sense to the state's ratepayers.

24 There's also a public interest in making
25 sure that the electric systems of California

1 connect in the most efficient way. The
2 Legislature's interested in this, and many public
3 policymakers, from different perspectives.

4 So, we're asking you today, people in
5 this room, to help us get it right. To make sure
6 that we approach the systems correctly,
7 efficiently and in a way that really prepares us
8 for the needs of the 21st century in California.

9 And we will today be just gathering
10 information and you're here to help inform us so
11 that as we make decisions in the future we'll do
12 so based on the best, most current information.
13 So I appreciate people having taken the time to be
14 here. I had a chance to look at the slides and
15 they're very compelling, and I think very useful
16 to our understanding.

17 So, with that, Commissioner Rosenfeld,
18 do you have any opening comments?

19 ASSOCIATE MEMBER ROSENFELD: Just
20 welcome, and I think it's going to be an
21 interesting day.

22 PRESIDING MEMBER PFANNENSTIEL: Thank
23 you. Commissioner Chong.

24 COMMISSIONER CHONG: Thank you. I
25 really appreciate being invited here today by the

1 Energy Commission, and participating in this
2 workshop. I'm very pleased that the Energy
3 Commission is devoting today to discussing smart
4 grid.

5 The merging of information technology,
6 telecommunications and the electric grid is going
7 to create some very interesting and exciting
8 opportunities.

9 We've been pushing hard to increase
10 energy efficiency, demand response and renewables
11 in the state. But in many ways the state energy
12 policies are leading to a more complex electric
13 grid.

14 At one end of the grid we're seeing an
15 expansion of intermittent renewable energy sources
16 like wind and solar. These resources create
17 certain challenges for the system operator.

18 At the other end we're seeing commercial
19 and industrial customers putting in advanced
20 energy management systems. Further, we'll soon be
21 seeing residential customers using home area
22 networks to enable smart appliances in their smart
23 homes. With these changes, demand is becoming
24 more and more dynamic.

25 While managing the grid is becoming more

1 complicated, we need to make sure the system
2 functions as efficiently as possible, especially
3 because we do have to meet greenhouse gas goals;
4 and we always are concerned about insuring system
5 reliability. Perhaps a smarter electric grid will
6 help us get there.

7 I think the Energy Commission can play
8 an important role by helping develop a California
9 smart grid. For example, we need a common
10 definition of a smart grid. We need to develop
11 milestones for the utilities and the industry to
12 meet in order to make progress towards developing
13 a smart grid.

14 So I think it's important that the
15 establishment of an industry-generated standard
16 will promote interoperability so that new products
17 and services can be smoothly incorporated into a
18 smart grid. We don't want another VHS or Beta-
19 type situation, do we?

20 Interoperability standards that are
21 followed within California, perhaps later
22 spreading across the country, can prevent customer
23 confusion and could lower costs for devices and
24 services for consumers.

25 As we discuss advancing the smart grid

1 in California, it's important, though, to keep in
2 mind very aggressive schedules for the utilities'
3 advanced metering projects. Advanced metering
4 will enable the state to significantly expand
5 energy efficiency and demand response. It is
6 important that the smart grid initiatives build
7 upon and do not delay advanced metering.

8 There's recently been a flurry of
9 activity throughout the country on the smart grid.
10 But I wanted to make sure everybody was aware of
11 one particular initiative. The National
12 Association of Regulatory Utility Commissioners,
13 otherwise known as NARUC, and the Federal Energy
14 Regulatory Commission has established a new smart
15 grid collaborative. And I've been honored by
16 being asked to serve on this FERC/NARUC
17 collaborative, along with 15 other state
18 commissioners.

19 I expect we will be looking at issues
20 around standards development and interoperability,
21 also on a national basis.

22 California is a leader in this area,
23 particularly due to our efforts around advanced
24 metering. So I will be recruiting, I hope, some
25 of the people around this room to contribute to

1 our discussions at NARUC. The meeting is
2 scheduled for the middle of July up in Portland, a
3 lovely scenic area. So, I'm sure you'd all be
4 happy to come.

5 The first meeting -- do we have an exact
6 date for that, Andy? Didn't we look that up? I
7 think it's maybe the 21st, something like that.
8 But I do look forward to hearing from today's
9 presenters and learning as much as I can about it.

10 Thank you.

11 PRESIDING MEMBER PFANNENSTIEL: Thank
12 you, Commissioner Chong.

13 I think at this point I'm going to turn
14 it over to David Hungerford, who will walk us
15 through the agenda. And then I think hand it off
16 to Mike Gravely to begin. David.

17 MR. HUNGERFORD: Thank you, Commissioner
18 Pfannenstiel. Welcome to everyone, thank you for
19 coming, and thank you for those of you who are
20 going to be presenting for putting together your
21 presentations for us today.

22 ASSOCIATE MEMBER ROSENFELD: David, I
23 don't think your mike's on.

24 MR. HUNGERFORD: It is, I'm just
25 typically a little bit too far from it.

1 There are a few housekeeping items. If
2 you're not familiar with the building, there are
3 restrooms just on the other side of those glass
4 panels. And you can get to them by going out
5 either of the exits in the back of the room. One
6 to my right, which you probably came in; and then
7 there's another one on the other end of that glass
8 panel.

9 And in case of a fire alarm or an
10 emergency, those are the exits you would leave
11 from. The doors out to the outside right over
12 here behind this panel are alarmed, so you
13 shouldn't go out them under normal circumstances,
14 but certainly in an emergency that's what you
15 would do.

16 There's also a snack bar up the central
17 stairs off the patio under an awning that you can
18 use if you need.

19 And if there's an evacuation we will
20 meet at the park across the street.

21 Let me change this so that you can see
22 the agenda, the order of things on the agenda.
23 We're going to first go through an overview, look
24 at the national overview of the smart grid issues.
25 Move to a national perspective. Get some

1 perspectives from the Independent System Operator.
2 And look at what's going on internationally.

3 And then we'll have discussions from the
4 investor-owned and publicly owned utilities. And
5 at the end of the day there will be public
6 comment.

7 We ask that you reserve major comments
8 or major questions for the public comment section
9 at the end of the day. However, we do have enough
10 time in the agenda today for specific clarifying
11 questions to the presenters. And so if we could
12 keep those questions to narrow questions
13 specifically about that presentation, and leave
14 more broad discussions for the end of the day.

15 And many of you have your green visitor
16 tags. At the table where you picked up those tags
17 there is a sign-in sheet which will be the basis
18 for the mailing list for this docket. And so if
19 you have not already added your name to that list
20 with your email address and your other
21 information, please do so before you leave today.

22 All right, just a brief background on
23 what we're doing here today and what this load
24 management standards proceeding is about.

25 The Commission opened an order

1 instituting investigation and an order instituting
2 rulemaking the first part of this year. And its
3 purpose is to assess which rates, tariffs,
4 equipment, software and protocols and other
5 measures would be most effective in achieving
6 demand response; and two, to adopt regulations and
7 take other appropriate actions to achieve a
8 responsive electricity market.

9 The purpose of this proceeding is to
10 gain public input on the possible formation of new
11 load management standards. We want to also
12 explore the potential peak load reduction and load
13 shifting strategies. And we want to coordinate
14 with other regulators in the state, the Public
15 Utilities Commission and with the Independent
16 System Operator, and with the other utilities on
17 trying to work together to make this work
18 seamlessly and effectively.

19 The workshop schedule is rather
20 aggressive. We're meeting today on smart grid.
21 And comments will be due from the public on May
22 6th, written comments on this workshop.

23 On May 27th there will be a workshop on
24 advanced metering infrastructure. On June 10th
25 there will be a workshop on rate design,

1 incentives and market integration.

2 On June 19th we will take up the topic
3 of enabling technologies and communication
4 systems. On July 10th we'll be working on
5 customer education and needs.

6 And following those workshops there will
7 be a staff report developed that makes
8 recommendations for the development of load
9 management standards. And we will develop a more
10 specific schedule on that process for the adoption
11 of specific standards that come from this process
12 at that time.

13 The objectives of today's workshop are
14 to discuss the current smart grid technologies and
15 initiatives; understand smart grid plans of the
16 California utilities; and to obtain public input.

17 And with that I'm going to pass it over
18 to Mike Gravely who has our first presentation.
19 Thanks, Mike.

20 MR. GRAVELY: Good morning. I am Mike
21 Gravely from the Energy Commission's R&D division.
22 Particularly, I am the Office Manager for the
23 energy systems research office.

24 I'm checking my computer here because
25 one of our speakers, Mr. Eric Lightner from the

1 Department of Energy, is actually going to
2 participate through WebEx for us. We have a
3 little bit of a technical challenge here, but he
4 wasn't able to make it, but he did want to provide
5 for us the national view.

6 So we're going to work out the deal, so
7 it may take a second to get him online after my
8 presentation. We may defer his one or two if we
9 have some problems. He's coming in from the east
10 coast, so even though he wasn't able to make it,
11 he wanted to be able to provide us that view of
12 the world.

13 Also, just a quick update to cover here,
14 is in addition to this particular workshop, which
15 is focusing quite a bit on the technology that
16 we've done some research on, there's also the
17 enabling technology one where there'll be a
18 considerable amount of information on advanced
19 research efforts that we're doing here at the
20 Commission.

21 And also just a quick review, again,
22 that when we arranged the speakers today, we tried
23 to have everybody talk about what they're doing
24 today and what they see in the future. So there
25 will be some duplication, but I don't think

1 there's a lot. Plus I think different
2 perspectives, as we said.

3 So, one of the things that came to our
4 attention in the research office is I have the
5 fortunate ability of being involved with the whole
6 perspective, transmission, distribution, renewable
7 integration, energy storage, demand response and
8 those types of technologies in the PIER, Public
9 Interest Energy Research, area.

10 And we actually began to recognize smart
11 grid coming out a lot in different areas, and
12 different programs were calling themselves smart.
13 And my analogy was smart was becoming the new
14 green, where if it touched the grid it had to be
15 smart or it wasn't sexy, so they would change it.
16 But all of them, I don't think, met that
17 definition.

18 But what we did find out was there's a
19 lot of activity going on. There's a lot of
20 technologies coming. And a real potential for us
21 to go in many directions with that.

22 So, we actually initiated a Public
23 Interest Energy Research program project to
24 actually assess what is the current state of smart
25 grid; who are all the players. This report has

1 been completed and it's in the publishing process.
2 So at the end -- and also you have my information
3 here -- if you want a copy of it, it will be
4 posted. But if you send me an email we'll send it
5 out as soon as it's available. We expect it to be
6 published within the next 30 to 45 days, if not
7 sooner, with all this research.

8 So, one of the things we looked at, our
9 case, was what are the new and emerging
10 technologies that are impacting the smart grid of
11 the future. How can we avoid legacy or
12 incompatible systems. We don't want to get into
13 today if you have a laptop that will read a CD
14 which not too long ago was a great deal. But now
15 if you put a DVD in there it doesn't work.

16 And so we just looked at those concepts
17 and where is the right way to interface. If you
18 have a system that reads it and you plug it into
19 your laptop it works fine, so you can use any of
20 those devices on a laptop. But you don't have to
21 have a particular one. So we want to look at that
22 approach to the world as to where are the
23 interfaces that are critical so that many
24 customers in California and the nation can benefit
25 from many technologies and not be limited by a

1 particular technology.

2 So, fostering open competition and
3 commercial growth is an area we have to think a
4 little bit about. I don't think it's going to be
5 natural because there are different speeds of
6 things. And normally the first one out the door
7 is not the one that you end up with. But it gives
8 you a lot of ideas.

9 And also being in the government there's
10 some cases where government can help. And we had
11 a large workshop on the 13th of March and we asked
12 those kind of questions to over 100 attendees from
13 all over the industry and the nation. It was how
14 can we help the process and where should we stay
15 out. Sometimes the government tries to help and
16 it makes it more cumbersome. So we asked those
17 questions and addressed those issues.

18 And a question in my office in
19 particular, we work infrastructure resource. So
20 we're trying to find some of the short-term, mid-
21 term and long-term smart grid infrastructure
22 issues so we can address those in the appropriate
23 level of research.

24 So, just for quick discussion of what is
25 smart grid. You will hear later today from the

1 Department of Energy, but there was the Energy
2 Independent and Security Act of 2007 specifically
3 addresses smart grid, and specifically addresses
4 these elements. I'm not going to cover them all
5 in detail, but it's a broad definition.

6 But even this definition has lots of
7 ways to be implemented. So I think everybody's
8 beginning to realize this, and everybody's moving
9 in the right direction, but we just haven't come
10 up with a comprehensive definition that everybody
11 can agree with yet.

12 From our research that we did one way of
13 showing this analogy was discussed by Commissioner
14 Chong, also, is the fact that we're merging the
15 electrical infrastructure from markets to control
16 to generation to transmission to distribution to
17 the end customer into an intelligent
18 communications infrastructure, which includes
19 landlines and cellphones communications, new
20 technologies, everything from large operating
21 systems down to the individual consumer.

22 And so when you look at that, the smart
23 grid of the future, the two of them begin to
24 merge. And when you look at things like
25 renewables and plug-in hybrid vehicles and

1 different technologies, they have to all work
2 together cohesively as a system if we're going to
3 reap the benefits we want in the future.

4 And it's pretty fair to assume that that
5 won't happen by accident. It'll have to happen by
6 direction.

7 I think it's also important to
8 understand from the research that we've done why
9 smart grid is important, why are we here and why
10 are we pursuing this.

11 I think, one, is it has the potential of
12 significantly improving our grid reliability. The
13 amount of time -- the number of outages we have,
14 shorten the amount of outages, and smarter
15 decisions to understand how to recover, how fast
16 and those types of things.

17 More options for grid reliability. More
18 generation, more end-use options to keep that
19 system. So we want, everyone dislikes the system
20 down, and so we want to be able to find ways to
21 keep our system working.

22 We want cleaner, lower greenhouse gases;
23 we want lower costs; we want more efficiency. And
24 so what happens is if you have new technologies
25 and you look at the merging of the two systems,

1 you have one, the ability to use the existing
2 systems better. In other words, using your assets
3 more efficiently, more productively at a higher
4 efficiency factor. And you have the ability to
5 add new technologies, new options. Whether it's
6 distributed resources, whether it's renewables,
7 however it may be, you have the ability to do
8 that. And we have the ability to integrate more
9 preferred options.

10 Utilization rate here in California is
11 interesting because we have great peaking demands
12 in the summer and very low demands in the evening
13 and in the winter. So that's not necessarily one.
14 And using technology and using smart grid, we
15 believe, in the future, will allow us to level out
16 that high-peak -- reduce the peak and raise the
17 lower part to where we get much more efficient use
18 out of our systems, and a much lower cost.

19 Also, the consumer, it's very important,
20 as we mentioned earlier, home area networks are
21 becoming a very popular element now. People --
22 entertainment systems, plug-in hybrids, renewables
23 in your home. Your home's becoming net energy
24 zero, or net energy positive producing homes.
25 These are things people in California certainly

1 are interested in, and people in the nation are
2 interested in.

3 Dynamic rates allow customers to take
4 the benefit of saving money when rates are high,
5 and using energy when rates are low. And those
6 types of technologies allow them to do that. It
7 especially provides us a much easier way to do the
8 demand side management.

9 We also learned in our research that a
10 smart grid for California is not necessarily the
11 same as a smart grid for other states. California
12 has some very unique policies and unique
13 activities that we think, and unique
14 circumstances, we think, for us, different desire
15 for what the smart grid in California should be.

16 If you look at some of our defined
17 policy, whether it's greenhouse gases, whether
18 it's efficiency, to include efficiency reductions
19 and net zero energy homes and buildings, the use
20 of demand response for load side management, the
21 increased use of renewables, all these policy
22 directives have impact on the grid. And all of
23 those things are desires that California has been
24 clear that they want to go to.

25 And we want to do this by not reducing

1 our grid reliability, by not substantially
2 increasing our costs, hopefully reducing our
3 costs, and ending up with a system in the future
4 that's better than we have today.

5 Also, we mentioned there's a, I'll call
6 it the train has left the station in California.
7 We're deploying advanced metering infrastructure
8 meters in the three investor-owned utilities.
9 You'll hear today from public utilities. So, I'll
10 defer the specific questions here later, other
11 than you'll hear from each of the utilities that
12 speak today.

13 The point is that we are moving forward
14 with this, and we want to be sure the two merge as
15 opposed to two running into a block wall. So, the
16 timing is critical for us to address this now, as
17 opposed to waiting two or three years and then
18 addressing it.

19 So we look at California versus other
20 states. It's important to say that our energy
21 policy and our activities are very defined and
22 important to address. California has been an area
23 of growth and we envision continuing to be an area
24 of growth. And California has very unique energy
25 use profiles. And so we think for all those

1 things we have to include those factors in the
2 smart grid of the future as we operate.

3 We did have some discussions at our
4 large workshop about research in California and
5 Energy Commission research, in general, and Public
6 Interest Energy Research. And that was what can
7 we do in the future to help.

8 And a clear -- and we'll hear this a lot
9 today, I think -- a clear effort was defining
10 smart grid in enough detail for people to
11 understand how to go forward. And so one of the
12 areas where PIER, in the past, has been very
13 successful and the Commissions have been, is
14 bringing people together and joining consensus.
15 It's not unlikely to say that it'll come natural.

16 So, resolving the issues and coming up
17 with a unified approach, developing a coordinated,
18 integrated definition that is in sufficient detail
19 to provide the guidance we need, but not in so
20 much detail that it limits new technologies and
21 new answers.

22 It also is conducive to where the
23 utilities are able to operate within their
24 desires, but they're also able to operate in an
25 environment where the state gets the needs it has.

1 The other area that we've had -- and so
2 we left that meeting with a clear understanding.
3 And we're actually continuing research in this
4 area, so we're continuing to do more research in
5 the area of helping California define what smart
6 grid is. And so we envision going to our
7 Commission for approval of future resource to help
8 that area, to specifically look at defining what
9 smart grid is for California.

10 The second area that we've learned a lot
11 is that we can help sponsor and bring together
12 demonstrations. For example, we've been doing
13 some work and are doing some work with the
14 utilities in California on microgrids. And
15 microgrids can be, in this case, perceived like a
16 small smart grid.

17 So you can look at different elements of
18 smart grids, whether it becomes an interface of an
19 AMI with the system, how do you use renewables,
20 how do you use distributed generation, how do you
21 integrate these different pieces. Smart grids
22 allow us to take small chunks and work out these
23 different regulations and interface documents at a
24 smaller level and a more controlled level so that
25 when it expands to a bigger level we'll get what

1 we want, as opposed to running into problems.

2 There's other things like distribution
3 automation and new technologies that are there,
4 open architecture. So, the other thing that came
5 out of here was for us to take a serious look at
6 demonstrations where we can bring parties together
7 and sponsor demonstrations.

8 We typically like to have heavily co-
9 funded projects, so we don't like to fund the
10 whole project because we want the customer, other
11 people to have buy-in. But what happens is
12 sometimes our piece of the pie is enough to bring
13 everybody together. So we envision continuing to
14 do that. But we don't really envision a lot of
15 research where we will fund the whole thing,
16 because then the people that are doing it, we're
17 looking to bring people together as opposed to
18 just push a particular solution.

19 Just an example right here for purposes
20 of illustration. As we mentioned in the
21 definition, one element of the definition will
22 have to be communications or regulations,
23 controls, standards or reference designs, however
24 you want to talk about it.

25 So, we used this analogy in one of our

1 technical workshops where you talk about a meter
2 and there's certain data coming from the meter.
3 And you want to transmit that data. And the
4 object is not to have 15 different protocols that
5 you have to pick one of 15. But the final way
6 data can be communicated, not prohibit
7 competition, but at the same time limit what we
8 do.

9 So we come up, for example, with the
10 data package where we define the addressable and
11 what's in the data. So it's like an envelope. We
12 define how you address it; we define some basic
13 bounds of what's in the envelope. And we leave
14 the rest to the industry and the utilities and
15 other players. But it gives us a standard package
16 and then we know how to communicate.

17 So, what you end up with is the ability
18 to have different solutions at the meter side, for
19 example, different ways of communicating, whether
20 it's wireless or wired or fiberoptics; and it all
21 come together with a useful document at the end,
22 as opposed to having three parallel lines where
23 you have all the same information, but they can't
24 share.

25 The object here in smart grid is to

1 communicate together and jointly share
2 information. So part of the smart grid
3 definition, as we go forward, has got to identify
4 these areas of where we think this commonality
5 needs to be. And then define what those are.

6 And, again, that gets to a situation
7 where we also have that fine line of being
8 specific enough to help, but not so specific that
9 we would eliminate, for example, the bottom two
10 options. That's a challenge that we see going
11 forward, and that's a challenge that we see
12 addressing in the research area, as well as
13 working with the utilities further.

14 So, again, this is my contact
15 information. Those of you who are interested in
16 seeing the final report, we'll make it available
17 as soon as possible. And feel free to contact me
18 direct if it's not posted on the web; or my
19 project manager here, Dave Michel, and we'll be
20 glad to answer any questions from there.

21 Commissioner.

22 PRESIDING MEMBER PFANNENSTIEL: Thanks,
23 Mike. No questions. Rachelle, Art? Thank you.

24 MR. GRAVELY: We'll see if Eric is
25 online; if not, we'll just skip him and go to the

1 next.

2 Okay, he hasn't logged on, so why don't
3 we go ahead and go to the next. Fortunately we
4 have a backup. If Eric doesn't, we'll have
5 someone else speak for him.

6 (Pause.)

7 MR. JOHNSON: Good morning,
8 Commissioners, and thank you for having us from
9 the ISO on your agenda today. My name is Walt
10 Johnson. I am with the California ISO. My title
11 is Principal for Technology Strategies. What you
12 have in front of you is a technologist, and I work
13 in the IT department. So my interest in this, to
14 the point Mike made in his presentation about the
15 merger of the electrical grid with the information
16 technology end of things, I approach it from, I
17 think, the less common side, which is the
18 information technology side.

19 But I've been involved in the California
20 ISO's demand response work and some of the other
21 areas of smart grid work for the last couple of
22 years. And I drew the straw for being up here
23 today.

24 My intention today is to address the
25 question of what the smart grid can mean for the

1 ISO. But at the same time, present, I think, a
2 bit of a challenge in terms of the scope and
3 breadth of what a smart grid might represent.
4 With that I'll proceed and we'll see where the
5 questions lie.

6 As Mike mentioned, and as we've heard
7 before, the question of just what a smart grid is,
8 is still somewhat up in the air. And we're all, I
9 think, pulling from a variety of sources. I don't
10 go -- our national perspective because they seem
11 to be owners of a list of adjectives that describe
12 a smart grid. And the attitude seems to be, for
13 the most part, that the smart grid is
14 characterized by its behaviors not by what it's
15 made out of, not by how it's constructed.

16 But if you look through the list, and
17 whether the list that Mike had, or the list that
18 I've presented here, I think that what it really
19 comes down to is that an awful lot of the
20 technology we're talking about is simply about
21 better measurement and better communication.

22 I think that in the first round of the
23 smart grid, at least, that's going to be the
24 focus. I think it's a little bit longer term
25 vision to look at actual intelligence in the grid,

1 itself.

2 For example, I think a grid that is, for
3 instance, self healing, something beyond the level
4 of reclosers or something that we currently have,
5 would be interesting, but would it be sufficient
6 adaptive to be able to redispatch generation in
7 the event of an outage. I don't think that's in
8 the current vision of the near term, for example.

9 We talk about the system being
10 interactive with consumers. Are we talking about
11 interactivity on the level of a day-ahead price,
12 or peak-day call? Or are we talking about being
13 able to provide four-second AGC from plug-in
14 hybrid vehicles? It has significant impact on the
15 structure of the communications that are put in
16 place, which of those two you're trying to target.

17 The system is described as being
18 optimized. Once again, I don't expect the system
19 to be redeploying assets. It's going to be
20 collecting information, recording that information
21 in a much more granular fashion and more quickly.
22 But the actual optimization is it's still going to
23 likely involve some kind of central control, or at
24 least regional control, that makes decisions about
25 how best to redeploy the assets.

1 So, those are just some of the aspects.
2 I'm not going to go through all of these. But
3 those are some of the aspects that I think where
4 the danger of a definition of the smart grid in
5 terms of these kinds of adjectives is that it is
6 in the eye of the beholder. It's in the eye of
7 the user just how far you push the meaning of each
8 of these.

9 Among the things that from my
10 perspective, and there's a little bit of personal
11 stuff in this, the smart grid is not -- it's
12 really not very smart. And I'm comparing that to
13 my experience with such things as the internet or
14 computer networks and things like that.

15 In its early versions the smart grid, as
16 I understand it, is primarily, like I said, a much
17 higher speed data collection device. Whether it's
18 collecting much more granular information from
19 smart meters down to individual load points;
20 whether it's getting much more granular time data
21 from synchrophasers throughout the network, it's
22 still collecting information.

23 Now, relative to where we are today
24 that's a lot smarter. But relative to where we
25 could be with distributed intelligence, with

1 intelligent agents, with automated adjustment of
2 line ratings on the fly, perhaps other adjustments
3 of the demand or generation portfolio on the fly,
4 independent of a central operations group, I think
5 we've got a long, long way that we could be going
6 toward.

7 As I mentioned, the grid is maybe self
8 healing in the sense that it can attempt to route
9 around some problems. Of course, the electronics,
10 unlike a computer network where intelligence has
11 to be built in to cause the rerouting to occur, in
12 the electric grid physics takes care of that for
13 us. The electrons go where they're going to go.

14 But the grid, itself, inherently, as the
15 smart grid is seen, is not really self-operating
16 or self-dispatching in any near-term kind of
17 vision.

18 Again, I mentioned the question of
19 optimization and control structures, and control
20 algorithms that will be needed are going to be, I
21 think for a long time are going to be done outside
22 of the scope of the grid, itself.

23 And taking a longer term view, most of
24 the folks of the smart grid activities are around
25 near-term operational events. Identifying quickly

1 outages when they occur, that sort of thing,
2 doesn't really speak to the planning side of
3 things, the longer term intelligence. What do we
4 do with this information about how the grid is
5 evolving, or how it should evolve, and what an
6 optimal evolution path might be.

7 So, from the ISO's perspective, looking
8 at the end to end holistic view of things, and
9 I'll speak more to that in a moment, we think that
10 the smart grid, while it provides a lot of
11 information that will be useful, still leaves a
12 lot to be done in a longer term timeframe.

13 And I would remind people, and I think
14 in this room it's maybe unnecessary, but looking
15 at how much press there is around this, there's a
16 lot more to the smart grid, at least as we see it,
17 its value for the system operator than just in the
18 AMI investment. But that's a start.

19 In terms of the role of the ISO, and in
20 terms of the focus that much of the smart grid
21 technology has had on the distribution side of the
22 grid, I want to elevate the discussion for a
23 moment and speak to the end-to-end energy supply
24 chain.

25 If we look at that in terms of

1 traditional supply chain management the objective
2 is to reduce the end-to-end variability that you
3 experience in the delivery of a product. In this
4 case electricity to the consumer. And at the same
5 time you want to streamline that, reduce costs,
6 improve the efficiency and the productivity, or
7 the productivity of that process.

8 For electric power we've historically
9 been at the mercy of the demand comes from the
10 point of use, the requirements for reliability,
11 for amount of power delivered and all that, are
12 set by the end-use consumer, historically. Demand
13 response is trying to address some of that.

14 But in reality, in today's system it's a
15 combination of both what the demand requests, in
16 essence, and what the system transmission operator
17 is able to provide. We are in the middle, we're
18 the balancing authority, that's why we have this
19 responsibility. Someone has to do that.

20 For load-serving entities their focus is
21 clearly on distribution level grid reliability and
22 on providing the best service they can to their
23 customers through all sorts of conditions.

24 From the ISO's perspective, we're a
25 little more focused typically on the upstream

1 wholesale markets. But at the same time we can't
2 be oblivious to the downstream demands that are
3 emanating from the load-serving entities.

4 It puts the ISO in a Janus-like two-
5 headed kind of position looking in both
6 directions, what I would call upstream and
7 downstream here, trying to optimize this end-to-
8 end process.

9 So, for us, if the smart grid is going
10 to have significant value it needs to help us in
11 this end-to-end integrated sort of fashion, and
12 manage this system throughout that entire delivery
13 cycle throughout the entire supply chain.

14 In today's system reliability is
15 actually a two-tiered function, the LSE providing
16 responsibilities at the distribution level, while
17 the ISO focuses on the larger network.

18 We're focusing on somewhat different
19 sorts of things. We have been focused most
20 recently by some recent compliance rulings and
21 things that focuses us very much on meeting
22 national reliability standards. That's our goal.

23 Your goal, or the goal of the
24 distribution grids is much more on the customer
25 service and service that you're providing to the

1 end users. It's a somewhat different kind of
2 thing. It's a different set of objectives.

3 We have to somehow bring those two
4 together. And to the extent that we can meet both
5 those objectives through a more robust and a
6 smarter grid, we'll all be better off.

7 There are three issues that I think come
8 up when we think about how the smart grid then can
9 work for us. One is the matter of information
10 integration. As the central point through which
11 most all the information about the performance of
12 the grid on both the supply and demand side flows,
13 the ISO is right in the middle of this information
14 integration role.

15 And to the extent that better
16 information is available through the smart grid
17 technologies that will be deployed and through the
18 information that will be available through that,
19 that's going to be a help for us.

20 Because, as I mentioned, also we have to
21 deal with this planning and forecasting kind of
22 activity, we all do at different levels of the
23 grid. To the extent that the information is
24 provided and collected by the new technologies
25 that are deployed in the smart grid, give us

1 better data for that purpose; finer granularity,
2 more accurate data, better shapes of curves and
3 things, we should be better off in that area.

4 And, of course, we also have to be aware
5 of the deployment of new technologies. Here I
6 mean new energy technologies. Most of those are
7 going into the distribution side of the grid, and
8 I'm referring to, you know, distributed resources
9 of various sorts. Whether it's a demand resource,
10 or whether it's a distributed renewable storage,
11 things like that. A lot of that is, we believe,
12 going to show up in the distribution side below
13 the visibility traditionally of the transmission
14 grid that the ISO is working with.

15 Let me illustrate here the integration.
16 This is a high-level summary of the integration of
17 the various information flows that are involved in
18 the end-to-end energy supply chain; from the
19 generation side on the left, through the ISO's
20 domain and transmission, through the distribution
21 grid, and finally to the end-use customer.

22 All of these different information
23 sources and systems will need to be pulled
24 together. There will be advantages to the extent
25 that we can pull these together and produce a more

1 holistic picture of the end-to-end electricity
2 supply chain. Putting more intelligence into the
3 system at any point is going to be an improvement
4 and something that we would heartily endorse.

5 I think it's going to be critical to
6 optimally managing or approaching some optimal
7 management of these new distributed resources in
8 particular. That is a domain that we're going to
9 need to do. As more resources shift from the
10 central locations that we currently see in
11 traditional central generating stations, and move
12 out into the distribution grid, integration across
13 this chain is going to be very important.

14 We think there will be other
15 technologies that are going to be interesting. I
16 just mentioned the fact that as the volume shifts
17 that's going to be an important thing for us.
18 We're still looking, in fact, for some forecasts
19 of the rate with which that shift might be
20 occurring.

21 To the extent that resources move into
22 the distribution grid and out of the traditional
23 management domain of the ISO, while we remain the
24 balancing authority, could be an interesting
25 challenge for us without sufficient integration of

1 systems and information.

2 So, as we look toward the future, and as
3 we see this gradual evolution in the source of
4 power, I think we're going to see more need for
5 us, as an industry, to manage the planning process
6 around the end-to-end system so that we can all
7 understand better what the impacts are going to
8 be. And I think the smart grid will be a step in
9 that direction.

10 Last week the ISO RTO Council hosted a
11 technical conference in Washington, D.C. on the
12 subject of lowering barriers to entry for small
13 demand resources. The next couple of slides which
14 I've taken from that presentation help, I think,
15 focus the value that we see in the smart grid in
16 terms of enabling some of these distributed
17 resources.

18 We characterized the demand resource
19 functions into four categories shown on the left.
20 I'm not going to repeat the material from that
21 presentation in general, but I wanted to indicate
22 that the ISO RTO, for a variety of these kinds of
23 programs, would like to have control and response
24 signals provided all the way down to some
25 reasonable level of granularity of resource.

1 Carrying that over the communication
2 overlay, that is the part of the smart grid that
3 we're looking at, can be a significant advantage
4 to us.

5 For example, in the current world the
6 ISO, the System Operator, exchanges information
7 with dispatchable resources; there are a variety
8 of types. Offers come from the resource. We
9 control the resource. We've got telemetry
10 feedback from the resource. And then ultimately
11 there's some kind of a meter reading that occurs
12 that's for the settlement process.

13 As we reach down into the distribution
14 grid, we lose this kind of visibility. We don't
15 have this type of telemetry except with the
16 largest resources in the state, whether they're
17 the generators or the large participating loads.

18 Instead we have some kind of an
19 intermediary here. I've indicated aggregator
20 here, but this could be an IOU, it could be
21 someone else, anyone who has a set of smaller
22 resources. And, again, demand resources are
23 indicated here, but it could be distributed forms
24 of renewable generation or other sorts of things.

25 From the ISO RTO perspective we'd like

1 to have the same kind of information flow, but we
2 know that we can't reach all the way down to those
3 small resources. If we're designing something, as
4 I said, that tries to get an AGC signal, or even a
5 ten-minute signal for ancillary services down to
6 those resources, the AMI infrastructure designed
7 for a once-a-day meter read is probably not going
8 to have the bandwidth and wherewithal to provide
9 that information.

10 Will that mean that we should have some
11 kind of an overlaid system in addition to that?
12 Should we look at building up the capability of
13 those systems? Someone mentioned the problem of
14 betamax and VHS. We can think of blue-ray and the
15 DVD formats and things. Do we need to keep
16 building parallel systems? Mike alluded to this.

17 Would parallel communication paths make
18 sense, or should we look at trying to actually
19 reduce that number and carry more different kinds
20 of information over a small set of -- a smaller
21 infrastructure?

22 These are important questions in terms
23 of the cost and in terms of the ultimate value of
24 the information exchanges that are being made at
25 this level of the grid.

1 So, in conclusion, from our perspective,
2 the smart grid is a beginning. It's a good
3 beginning, but it is just a beginning. In order
4 to be ultimately valuable to the system as we
5 perceive it, an end-to-end view of the supply
6 chain is going to be critical to maximizing both
7 the return on the investment on smart grid, as
8 well as maximizing the efficiency and ultimately
9 consumer satisfaction with the electrical system.

10 There are other opportunities as we look
11 beyond some of the initial smart grid initiatives
12 to take this to another level. And here I'm
13 thinking about terms, things like intelligent
14 agents in substations. I know there's some work
15 being done. We have some folks here who are
16 involved in some research in that area.

17 Putting real intelligence into the grid.
18 As I say, right now providing more and better
19 information is certainly a good start. But until
20 we can start to decentralize and actually
21 distribute intelligence and action that we trust
22 into autonomous devices in the grid, which is the
23 same kind of direction that computer networks and
24 what's called utility computing is happening, same
25 kind of a thing, automatic optimization and

1 deployment of assets to meet the need in real
2 time. That's where we'd like to head.

3 That's a big, big order. And it has a
4 lot of currently unsolved issues, I think,
5 associated with it. But it will keep us moving
6 toward a smarter grid for a long time to come.

7 With that, I think I will conclude,
8 simply saying that with that vision I believe that
9 we can achieve an outcome for the state that will
10 allow us to meet our energy efficiency goals and
11 our energy policy goals of integrating more and
12 more demand response, renewables, storage, et
13 cetera, et cetera, whatever's coming in the
14 future, all under an integrated smart grid that
15 will be a benefit to all of us.

16 Thank you, Commissioners.

17 PRESIDING MEMBER PFANNENSTIEL: Thank
18 you, Mr. Johnson. Questions? No. Thank you very
19 much.

20 MR. JOHNSON: You're welcome.

21 (Pause.)

22 MR. TAYLOR: Looks like Eric's not
23 online yet, so I'd like to introduce Richard
24 Schomberg from EDF.

25 MR. SCHOMBERG: Thank you. I will speak

1 today with different hats. Well, first, I am
2 responsible for R&D activities of my company,
3 which is Electricite de France. I am a Gridwise
4 Architecture Council Member, the USDOE
5 organization. And I am IC Chair President Elect
6 of the Technical Committee developing standards on
7 system aspects for energy development.

8 Today actually 20 minutes, 25 minutes,
9 it's very difficult to choose what take-away you
10 want to make. And purposely I will try to stay
11 away from technical aspects of technology.

12 Here is the outline of the presentation.
13 I will go very quickly around the world, make a
14 few comments. What about smart grid around the
15 world. I will stop in Europe, before, and
16 zooming, in France I can give a bit more flavor.
17 But the main points of the presentation is really
18 outlining common challenges to actually may happen
19 smart grid. And I will conclude with four
20 different keys that I guess are the keys to
21 succeed. And those are common keys. And we can
22 do things around those keys.

23 Okay, so now going around the world,
24 while I still don't know at what time of the day
25 this picture has been taken, but okay, I will --

1 (Laughter.)

2 MR. SCHOMBERG: -- I will just use it as
3 a background to show that, of course, it's no
4 surprise that it's in the area where you see the
5 most energy intensity that you see the most smart
6 grid discussions or activities almost.

7 Because if you look at Japan, we don't
8 see much people discussing about this. But they
9 are doing a lot of things. And I will make at the
10 end a specific comment on why, in my view, they
11 don't speak that much about smart grid.

12 And the surprise could be in Korea where
13 you don't see much light here on this picture, but
14 they have a compelling plan and investing a lot on
15 what they call information technology for energy.
16 And I'm not going to tell much more now because
17 I'm going there next month. So after the visit I
18 could certainly tell you more.

19 The different part of the world have
20 different drivers. Definitely the U.S., smart
21 grid started with the reliability issues, and that
22 was end of 2001. And I think EPRI at that time
23 was a precursor starting discussions and doing for
24 several years the heavy lifting until really the
25 smart grid trend exploded. And that was something

1 around 05.

2 In Europe smart grid discussions have
3 been starting for different drivers, which have
4 been from the very beginning, actually, the
5 integration and penetration of distributed
6 generation and high level of renewables.

7 And it's interesting to see that now
8 progressively in Europe we are considering that
9 smart grid would do good also for reliability,
10 because we have had very interesting blackouts.
11 And one of the most recent was actually due to
12 some renewable generation in Germany that even
13 that had impact down in Spain.

14 And now in the U.S., even if discussion
15 started with reliability, now we hear a lot about
16 renewables and enabling actually energy
17 efficiency.

18 So, I can see different drivers that
19 started actually smart grids in different part of
20 the world, but different part of the world are
21 looking for the same type of solutions. And now
22 even the drivers are converging.

23 Looking at what's going on in Europe,
24 Europe has been setting up the smart grid platform
25 as two years ago, to just brainstorm about what

1 the European Commission could do and fund as
2 projects on smart grids.

3 And it's interesting to see that on this
4 slide, it's an extract of the presentation at the
5 European Commission, the European Commission has
6 been just re-using the intelligrid vision, which
7 actually doesn't mean that there is one and only
8 one vision, and the winning vision.

9 But, as has been mentioned already this
10 morning, there are different visions. But there
11 is a lot of consistency between the visions. The
12 visions can be through different angles, but now
13 we see that there is a real consistency, whatever
14 vision, whatever label the people are using.

15 And I'm not going to comment again, but
16 this slide looks very much like the one that has
17 just been presented before by Cal-ISO.

18 Now, this slide is interesting because
19 it showed the rational and what is expected in
20 Europe on actually implementing smart grids. Now,
21 on the first bar graph here you have, well, I'm
22 not sure you can see it from far in the distance.
23 So I would say you have central generation and on
24 top of that today, a bit of distributed generation
25 and renewables.

1 Now, if we do nothing specific we're
2 going to augment the central generation, we're
3 going to augment renewable generation, and we are
4 going to expand and add a lot of systems, new
5 systems and new -- systems to control all that.

6 Now, moving to so-called smart grid
7 should allow to have distributed control over the
8 entire chain, which finally, for the same needs,
9 would need less central generation, which means
10 maybe more efficiency and less CO2; and also allow
11 a large part of renewables. So it's a conceptual
12 graph that the key point here is to see the
13 merging and integration even of transmission and
14 distribution somehow, and not keeping them in
15 silos.

16 And the European Union has issued a
17 request for a proposal last year. And contracts
18 will be awarded shortly for \$3.6 billion over the
19 2008/2013 period. And those projects will be in
20 the categories I'm showing now on the screen,
21 which is mainly having more interactive
22 distribution networks, and even what is called
23 active networks. It's not just passive devices or
24 passive part of the grid, but the grid is -- well,
25 you inject power actually in those part of the

1 grid. It was not designed for that at the very
2 beginning.

3 And, of course, most of the challenge
4 here are developing control strategies and
5 appropriate architectures to be able to do that.

6 Now, the real technical challenge that
7 everyone has is to be able to model and simulate
8 state estimation and behavior of the grid. And
9 here, this is where maybe there is still a
10 scientific and technical challenge. Even in
11 modeling techniques. Because the key is to be
12 able to have a very high granularity knowledge of
13 a lot of information, but using actually a few
14 measurements, which means that then the systems
15 has to calculate what you cannot measure, because
16 you cannot have measures everywhere.

17 And for transmission this has been
18 mastered already. We can still do some
19 improvements, but on distribution nothing really
20 exists or you stop and find some products, but
21 this is where a major technical challenge relies.
22 And that's worldwide.

23 Modeling and simulation of state
24 estimation on the electrical point of view, state
25 estimation which is current voltage and then

1 reactive aspects of the current voltage everywhere
2 in your circuit. And when you have this actually
3 you augment the observation points that you have.
4 And, of course, if you have more observation
5 points and that they are more reliable, then you
6 can think about adding intelligence using this.

7 Okay, so this is really distribution
8 oriented; this is really how to augment
9 observability. And a key goal actually is the
10 asset management. In Europe the people wants to
11 make the most of existing assets. And actually
12 augment the lifespan. And using more observable,
13 more information, more observable points to be
14 able even to anticipate and actually increase the
15 performance of operations and extend the life of
16 the equipment.

17 And the last point on which projects are
18 going to be funded is really storage, the storage
19 -- technologies that may actually make a huge
20 difference for small networks. So, in a nutshell,
21 here are just the areas on which some technical
22 work is going to be performed.

23 And now in France, just at a glance, to
24 give an idea of the territory we are dealing with,
25 our distribution network is for more than 300

1 terawatt hour per year, and we serve more than 30
2 million customers. We have more than 2000 high
3 voltage, primary substations. And more than
4 700,000 medium/low voltage secondary substations.

5 Now, what is EDF doing? Actually, as I
6 said, I don't want to answer in the technical
7 detail of the projects. And mainly what we're
8 doing is represented by the stars on the right
9 side of the slide. And I start from the bottom.

10 We want to augment what we can observe,
11 observe actually the entire infrastructure. And
12 we want to control a bit more those
13 infrastructure. We want to optimize the
14 operations and ultimately we want to be able to
15 anticipate. And this is really where the
16 intelligence can bring most of the value.

17 Because as it was mentioned earlier, we
18 don't know yet if we can completely rely on
19 machines to make decisions on how to operate the
20 grid. But you can actually get suggestions --
21 suggested by machines a lot of things. So you can
22 help the operator, okay. And so somehow you can
23 optimize.

24 But the real value of the intelligence
25 is where we can anticipate. Where you can

1 actually simulate faster than real time on any
2 situation; you can assess data very quickly. And
3 then you can simulate, from that set of data, what
4 is going on. And even try to simulate scenarios,
5 actions of the operator.

6 And you do that so quickly with
7 computers that nothing happened yet. But the
8 computer has been able to test maybe ten
9 scenarios. And the computer is able to display to
10 the operators maybe one, two or three pathways
11 recommended; things that the operator might not
12 have figured out.

13 And, of course, you can even, if you're
14 confident and closed loop, and even let the system
15 operate, but this is where I think worldwide --
16 while it's not yet there, but that's the ultimate.

17 And what we're doing, actually the blue
18 boxes on the left side of the slides are some
19 projects listed. And at the very bottom I listed
20 the AMI project, an energy box project for the
21 unregulated business part of the company. But
22 definitely smart grid is much more than this.

23 We have a collection of projects going
24 on. And even each box is a huge box with a lot of
25 technical activities and a lot of stakeholders.

1 But smart grid is not just a collection of
2 pockets. Because we have been running projects
3 like this for a long time already. And not just
4 EDF, many companies have been running projects
5 like this.

6 So, why calling something smart grid
7 now? Why didn't we call that smart grid earlier?
8 What is new calling this smart grid? So I'm not
9 going to answer now. At the end, I guess that's
10 the kind of answer I'd like to propose.

11 But I will stop there, drilling in the
12 technical projects of EDF which I get. It's very
13 consistent with what we can see in other companies
14 and other part of the world.

15 And I want to actually, using very
16 simple images, try to summarize where I think we
17 are tackling the same challenges throughout the
18 world with that smart grid concept.

19 Maybe you noticed from the very
20 beginning this morning there have been several
21 attempts to define the smart grid. And each time
22 it was the smart grid is -- no, actually the smart
23 grid includes. But, well, -- so, actually if you
24 want to do something, let's say an AMI system.

25 Well, here on this slide is showing what

1 happens naturally. Naturally is you can buy sub-
2 systems; you can buy meters, for example; you can
3 buy communication; you can buy a meter that has a
4 management system, et cetera. And you choose from
5 different vendors. And you put that all together.
6 And that's it. You get an AMI system. And that's
7 called the bottom-up approach, which is most
8 natural approach. Which is, well, like playing
9 with Lego bricks or, in my case I've been raised
10 with Mechano.

11 And it's very interesting because it
12 shows also the way our brain operate naturally.
13 Naturally we immediately jump on trying to
14 identify some bridge of some parts, and try to
15 create something from those parts. And that's
16 okay.

17 But, you end up with many different
18 pockets because then I describe the process where
19 you can buy the meters, the communication, et
20 cetera, you have an AMI system.

21 Then now you want to add some management
22 functions in your distribution system, then you do
23 the same. You're going to buy some equipment and
24 some automation, some cabinets for your
25 distribution substations. And you can choose also

1 a network technology; and you're going to choose
2 communication protocols. And that's it. You can
3 assemble all this, and it works.

4 Then you end up with many of pockets
5 actually where those pockets are assemblage of
6 maybe best of the kind from the market. But those
7 are different pockets and they don't really --
8 there is no way they can actually even interact
9 between themselves because they were not designed
10 to do that. And there are no bridge, no standard
11 bridge to put between those pockets to actually
12 solve this.

13 Now, this is what happens. I'm not
14 saying it's not the right way to do it. This is
15 what happens most of the time everywhere. And the
16 smart grid, over time, will actually augment by a
17 succession of steps where you add a new pocket in
18 your company, and you say, with our grid is
19 becoming smarter, which is true and not.

20 But which is true is that you have more
21 parts or more applications with more intelligence,
22 okay. So, definitely also we realize that no one
23 is starting from scratch, everyone has some
24 legacy. And we cannot just think the standard way
25 with engineering methods where a lot of time those

1 engineering methods are there -- to address
2 starting from scratch. So, that's an important
3 point where it will happen progressively, and no
4 one is starting from scratch.

5 Now, actually I go back here, you see I
6 have represented a kind of ideal level where even
7 today when discussed with people, even when they
8 have sound ideas on what kind of intelligence they
9 want to add in their grid, no one is describing
10 what kind of target they have. Or even in what
11 amount of time they want to reach what level.

12 So, that slide is conceptual, but
13 because the ideal is not described, or not easy to
14 describe, or even the ideal over time might
15 evolve. But how can the people actually manage
16 different pockets that are going to develop in
17 their company if they don't have a target. I mean
18 you can keep developing pockets, and that's fine,
19 because you're going to increase the intelligence
20 for some time. But at one point actually you're
21 going to be stuck with many pockets that are
22 detached.

23 And this is where the concept of urban
24 planning makes a lot of sense for smart grid. So
25 that the metaphor here is not to look at new

1 cities to find out what all the electrical needs
2 of the new cities. No, the metaphor here is that
3 a smart grid is finally like a city that has old
4 parts, that might have new parts going to be
5 added, that have parts that can be actually
6 removed. But the city is operating 24/7.

7 And actually the balance, the harmony of
8 all this is due to the fact that there is some
9 kind of planning. And there is someone somewhere
10 who is setting goals or even can be more
11 prescriptive. And like cities, the grid has
12 legacy and is going to be what we call a never-
13 ending system, which is 24/7, and that you're
14 going to have this for 50 years. You don't say
15 it's the grid, even in 100 years. But many parts
16 of it will have been replaced, removed and still
17 24/7 in operation.

18 So now if you have, if someone is doing
19 some urban planning for smart grids, which is
20 maybe defining some goals, some end points, some
21 rules, let's say some generic requirements, then
22 you may think about a different approach than the
23 bottom-up approach that I described.

24 You can think about the top-down
25 approach which is not natural, which is trying to

1 think about the needs only, just what you need.
2 Don't think about how you're going to do it, just
3 think about the needs. And then distillate this
4 to actually design the entire systems into
5 subsystems. And then go down and refine the
6 subsystems.

7 So, it's really a mastermind approach.
8 And it has also pros and cons. But the real
9 winning approach is the combination of actually
10 refining system requirements that can drive from
11 some kind of urban planning that each player
12 cannot do on its own. You need someone a
13 coordinator. You need the conductor of the
14 orchestra of the different stakeholders.

15 So, if you have this, then you have
16 system requirements. Then you can actually do a
17 combined approach which is starting to have the
18 first design in subsystems using standard building
19 blocks coming from the market.

20 And actually when you go to those
21 existing building blocks you see that it's not
22 exactly what you need, so you have to go back to
23 your system requirements to see that even if you
24 accept to use something that is existing, that you
25 can accept within your system requirements.

1 So, it's a very simple drawing that
2 actually if you don't do that, or if you're not in
3 control of the situation -- of your own situation
4 when you run the projects, actually you run very
5 quickly into trouble.

6 And the system approach here is, this
7 graph shows that it costs more at the development
8 stage, the very left bar graph. You see the green
9 is the system approach, green and smart. And it
10 costs much more at the beginning.

11 But actually in the deployment and
12 operation and maintenance it costs really less
13 because you can master what's going on. If you
14 just have pockets of interconnected things that
15 you've been grabbing on the market, then you end
16 up having -- paying a high price over time, over
17 10, 20, 30 years. And that's proven experience.

18 And also it's a proven experience that
19 if the complexity, you see these graphics showing
20 on the X axis complexity of the systems you want
21 to build; and on the Y axis the cost. And
22 actually when you just use the bottom-up approach,
23 you see cost much less at the beginning. That's
24 the red curve.

25 But if you cross a threshold level of

1 complexity, as complexity increases, then actually
2 the system approach is the only way to be able to
3 control what's going on.

4 I have put here several examples of
5 industries that have been experiencing this.
6 That's the aerospace industry, the nuclear
7 industry for actually the instrumentation and
8 control part of the nuclear industry, and the air
9 traffic control industry.

10 And all those industries have been
11 paying the high price of the lessons, which is
12 they all have burnt their fingers on the exact
13 point I tried to make in the earlier slides. And
14 that was the only way. And those are all very
15 clever people. But those are things that happen
16 in real projects.

17 And now when we talk about smart grids
18 that would be given beyond just being nice
19 pockets, then we reach levels of complexity that
20 requires to make sure that they're not going to be
21 new lessons learned at a high price.

22 But the hope is that the industry
23 succeeded to do it. So there is no reason this
24 industry cannot do it. But if this industry knew
25 about this, actually everyone would not be talking

1 about smart grid and all this. It could already
2 be implemented.

3 Now, I want to end up with some
4 conclusions and highlight four international keys
5 to succeed. While the first point is definitely
6 AMI; AMI, that's already fantastic. But it might
7 be a very first step towards smart grids, that is
8 not smart grids.

9 Now, smart grids must be much more than
10 a collection of detached advance applications.
11 And those different pockets, they are not going to
12 coalesce by themselves, you see. Likewise, energy
13 markets, you see energy markets, California has
14 given lessons to the world on energy markets. And
15 energy markets cannot create their own conditions
16 of existence, so they have to be designed. And we
17 can make a parallel there where the smart grid,
18 even if we put in place processes so that they can
19 grow by themselves, they're not going to grow
20 naturally in the right directions all together.

21 So this is where the urban planning of
22 smart grid is necessary one way or the other to
23 actually set common directions. But even suggest
24 reference designs. And that's reference designs
25 at different level. It can be reference design

1 definitely at the meter, and any devices that has
2 to be tracked to the meter. But it can be at
3 higher levels, also, on the architecture of the
4 networks or how the different pockets of
5 applications have to communicate.

6 And California is doing a lot in many of
7 those aspects. And is still, I think, quite
8 ahead. But there is still a long way in the
9 different things that California is doing there.

10 And California has also a nice thing
11 which is the IEPR, that's why not having an IE,
12 well, an integrated smart grid policy report that
13 would actually bridge the IEPR plans specifically
14 to do that urban planning for smart grids. And
15 that's the take-away number one.

16 Now, smart grids will be a never-ending
17 evolution. The level of complexity requires a
18 thorough system approach from requirements.
19 That's the take-away from number two.

20 Now, to do that and succeed in concrete,
21 and involving the vendors and the integrators,
22 then standards are still needed. And
23 interoperable building blocks are needed on the
24 market and necessary for the physical ability of
25 whatever you can think of -- urban planning, even

1 if you have some specific goals, well, if you
2 don't have those standards and the building
3 blocks, then you can still do it. But it's going
4 to cost a lot, and it might end up to be specific
5 systems where you're going to be stranded for
6 years. So that's the take-aways number three and
7 four.

8 And early in presentation was said that,
9 well, what can do, the CEC, is bring together the
10 people and try to build a consensus, which is
11 great. But actually the question you can have is
12 can all this, all the urban planning or the goals,
13 comes just from the consensus. And somewhere
14 there is maybe a need for the conductor of the
15 orchestra where if some directions or some goals,
16 some directions are not set, then it can be
17 forever expecting things to happen.

18 And the worst enemy in that situation is
19 the time. Because over time the people are doing
20 things. They are doing things. And the more you
21 wait and the more chance you have to end up with
22 really pockets that will never, never, never, ever
23 can communicate, share data and actually have some
24 intelligence on top of that.

25 Thank you for your attention.

1 PRESIDING MEMBER PFANNENSTIEL: Richard,
2 just one quick question. I just want to make sure
3 ultimately your presentation was very helpful in
4 organizing our thinking on what we need to do
5 here.

6 But I want to make sure I understand
7 that what you're really saying is the reason
8 people are having trouble defining what a smart
9 grid is, is that a smart grid is whatever you want
10 it to be. And you need to define that first.

11 And somebody defines that, and then the
12 rest are the building blocks to make that happen.
13 And so it can include various things, or it can
14 not include various things, but it has certain
15 goals that someone, and in our case the State of
16 California, would define as this is what we need
17 it to do. We need it to integrate more quantities
18 of renewables, we need it to meet demand response
19 goals, we need it to integrate distributed
20 generation. And then we build up to how we get
21 there.

22 Is that ultimately trying to apply your
23 lessons to us?

24 MR. SCHOMBERG: Yeah, I think that's the
25 points I tried to make. And I asked the question

1 earlier, I did not answer it. I'm going to answer
2 it now.

3 So, what is a smart grid. That's really
4 the sense of your point. Finally, the smart grid
5 is not something you can take a picture of. It's
6 much more a new way to think about the
7 infrastructure, and processes you're going to put
8 in place. And some management aspects that you
9 have to add to do something which is new.

10 The new thing is to make sure that from
11 the very beginning, well, you have many
12 stakeholders with many different interests. But
13 whatever they're going to do, it's going to be a
14 one common thing, or contribute to one common
15 thing.

16 And it's difficult to imagine. You can
17 imagine processes, and I have a passion for that,
18 to imagine some self-growing processes. And we've
19 been talking a lot about for use cases, for
20 example, put in place, that kind of process.

21 But it's not enough. And, well, we
22 could think about the human beings, themselves.
23 We are programmed to produce ourselves, and we
24 don't know -- we don't know what's the end point.

25 So we could think of why smart grids would

1 not be like this.

2 Then maybe given the state of the art,
3 or what the -- the limits of the human
4 intelligence today maybe it would be more -- to
5 actually, well, close the loop, have some goals,
6 and actually eat the banana from both ends at the
7 same time. Which is certainly encouraged, having
8 more and more projects developed and definitely, I
9 think, more and more pockets developed.

10 That from the very beginning when
11 develop a pocket, you have to know -- we, everyone
12 has to know how these pocket fits, regarding the
13 existing pockets or regarding other pockets that
14 we know are needed.

15 And this is the new part. This is
16 what's new to me. That's the answer to the
17 question I asked myself earlier, which is a what's
18 new. Because the people have been developing new
19 projects -- forever. What's new is really this.

20 PRESIDING MEMBER PFANNENSTIEL: Thank
21 you. Rachelle, Art, do you have questions?

22 ASSOCIATE MEMBER ROSENFELD: No.

23 PRESIDING MEMBER PFANNENSTIEL: Thank
24 you.

25 MR. GRAVELY: I think we have Eric

1 Lightner online now, if we can get the operator to
2 allow him to speak. And Eric is the Director of
3 the Federal Smart Grid Task Force; has been
4 working the federal side of this. And he's going
5 to provide us a presentation on what's happening
6 there. And if this works right. And then since
7 he probably will not be available for the 3:00
8 session, there may be some questions you want with
9 him before he logs off.

10 So, Eric, are you on?

11 MR. LIGHTNER: Yes, I am. Can you hear
12 me?

13 MR. GRAVELY: We can. So you should --

14 MR. LIGHTNER: Amazing.

15 MR. GRAVELY: Okay, you have control so
16 you can go ahead and we'll see if it works right.

17 MR. LIGHTNER: Okay. Well, you know, I
18 want to thank you for the opportunity to present
19 to you today, and let you know about what we're
20 doing at the federal level. I apologize for not
21 being there today, but it's amazing how busy you
22 can get when they have legislation going on, on
23 something you're working on. So it's just been
24 enormously busy the last few months since
25 December.

1 Anyway, hopefully the information I can
2 give is a little bit of an indication of the
3 immensity of the problem we're working on, and
4 exactly what the federal government is pursuing in
5 this area.

6 So, again, I've been asked to be the
7 Director of this task force by Assistant Secretary
8 here in our office, the Office of Electricity
9 Delivery and Energy Reliability. So, with that
10 I'll just get right into it.

11 What I hope to cover today is really
12 taking a look at the EISA Act that was passed in
13 December. And pull out what requirements, what
14 provisions that our office here will be
15 responsible for.

16 Now, I want to get into a little bit
17 more specifics on the task force, and give you an
18 update on those provisions and what we're actually
19 doing in those areas. And then just very very
20 briefly talk about the research and development
21 that's ongoing here at DOE that hopefully is
22 helping to enable some of the smart grid
23 functionality that we're pursuing.

24 So, requirements of that are in the
25 Energy Independent Security Act that was passed in

1 December for our office, basically the first thing
2 that we've been asked to do is pull together an
3 advisory committee. And what we're doing here is
4 we've put together an electricity advisory
5 committee, at a very high level, to inform the
6 Secretary, as well as the Assistant Secretary, on
7 any issues concerning electricity delivery.

8 So that could be security related, it
9 could be transmission related, it could be right-
10 of-way related, could be policy related,
11 technology development related. A whole host of
12 issues surrounding the security of electricity
13 supply that this group will be advising the
14 Secretary on.

15 A subgroup of that will be a smart grid
16 advisory committee -- subcommittee, if you will,
17 which will be composed of probably eight to 12
18 individuals that are also on the advisory
19 committee, which is about a 30-individual group.

20 In conjunction with that we have to form
21 a smart grid task force, and the task force is --
22 the way I like to look at it is the advisory
23 committee sort of gives the overall direction and
24 advice to them on different issues; whereas the
25 task force is the career federal employees who

1 actually have to do everything. So we're going to
2 be the ones that have to look at the provisions
3 very closely in Federal 13, and act on them, and
4 deliver on them.

5 So, I'll give you more information on
6 the task force in the presentation. But
7 basically, you know, it consists of several
8 federal agencies, NIST being one, the EPA, FERC,
9 Department of Homeland Security, DOD, and I
10 believe that's the bulk of them.

11 And so, all those committees, both the
12 advisory committee as well as the task force, were
13 to be put together within 90 days. And I believe
14 that the task force did make our 90 days; the
15 advisory committee was a little bit behind their
16 requirement. But their first meeting is going to
17 take place in May, May 20th, I believe, here in
18 D.C.

19 Anyway, what else is in the EISA, Title
20 13. There's several reports that we have to
21 produce and deliver to Congress. Two of them are
22 the end of this year; one by the summer of '09.
23 One of those reports is basically the overall, you
24 know, status of implementation of the smart grid,
25 so whatever that means, Congress wants to hear

1 every other year on where we stand on implementing
2 the smart grid. So I can give you more slides on
3 that in a minute.

4 But, another report is really taking a
5 look at what laws and regulations are in place
6 which affect siting of privately owned electricity
7 distribution wires on public rights-of-way. So,
8 this is really aimed at the individuals that own
9 private generation and how they can compete and
10 participate in utilizing public rights-of-way, so
11 utilizing the utility infrastructure, if you will.
12 Or competing with the utility infrastructure.

13 So, we have to take a really good look
14 at why those laws are in place; what the
15 regulations are; what the benefits are of those.
16 More of a baseline kind of report to educate the
17 legislators here in Washington.

18 The third report that we have to do is
19 one that has to do with the security implications
20 of enabling the smart grid. So, you know, once we
21 -- if we are successful at transitioning to and
22 implementing some of the increased functionality
23 that we all envision for the smart grid, is that
24 going to make us more vulnerable or less
25 vulnerable from a security standpoint.

1 Is it going to make it easier to recover
2 from man-made and natural disasters, or is it
3 going to make it more difficult. So I think they
4 want really some analysis on the implications as
5 far as energy security goes, with this increased
6 functionality. So we hope to deliver that.
7 That's one that's due next summer.

8 Some of the things that we're on the
9 hook to do, we have to carry out an R&D program in
10 smart grid technology, so technology development
11 effort. So we'll be putting together, you know, a
12 roadmap, an R&D portfolio, if you would, to
13 attract the different smart grid functionality
14 that we hope to enable.

15 We have to assemble and implement a
16 smart grid regional demonstration. So that the
17 first step there is, of course, to define what
18 that means. And then to move forward on, you
19 know, soliciting for some regional projects to
20 demonstrate the different functionalities of a
21 smart infrastructure.

22 Now, that currently is unfunded, so
23 that's something that, if we receive funding in
24 the next budget cycle, we'll go ahead and
25 implement that. That, as well as the federal

1 matching funds program, which is a little bit
2 undefined. The way it's defined in the
3 legislation is pretty much anything you do the
4 federal government's going to co-share it with you
5 as far as upgrading your infrastructure.

6 And I really don't see that as
7 realistically receiving funds in the next budget
8 cycle unless they really narrowly define what it
9 is we're going to cost share. Otherwise it will
10 just be enormously expensive.

11 So, those two things are unfunded at
12 this point. But what we'll do over the next
13 several months here is really try to put in place
14 a mechanism for implementing those programs if, in
15 fact, they are funded.

16 So, with that, I'd like to get into a
17 little bit more about the task force. Again, I
18 mentioned that the task force is really going to
19 be the implementers, if you will. So, one of the
20 first things on our plate, as a makeup of several
21 different federal agencies, is to really start to
22 get a good grip on what each of our different
23 agencies are doing that is related to the smart
24 grid. What kind of R&D is going on; what kind of
25 initiatives are ongoing.

1 So that we can better coordinate across
2 the federal government; so we're not stepping on
3 each other's toes, so we're not duplicating
4 efforts. This is actually going to be quite
5 difficult, I believe. I mean it's pretty
6 difficult coordinating just within DOE, I can tell
7 you that right now. And coordinating across the
8 different agencies is really going to be
9 challenging. But that's our first activity that
10 we've been pursuing.

11 So we had our first meeting in March;
12 and we're just starting to educate each other to
13 find where those areas at this point might be that
14 we can really leverage each other and start the
15 coordination.

16 The task force is also going to oversee
17 those reports that I mentioned, so over the next
18 few months we'll be putting in place statements of
19 work; we'll be reviewing drafts; we'll be getting
20 those reports ready to submit to Congress by the
21 end of the year and next summer, as well.

22 We'll oversee the development of the R&D
23 plan, so over the next several months we will be
24 looking at current R&D plans for the agencies.
25 We'll be looking at what the needs are in the

1 industry. And trying to assemble some sort of R&D
2 plan between now and the next fiscal year.

3 So that, when all the agencies get their
4 funding we'll have a better idea of how best to
5 spend that money.

6 Again, the task force is going to be the
7 guiding force, if you will, for the regional
8 demonstrations, as far as content, what
9 specifically are we going to be looking for. So
10 it'll be up to the task force to really craft what
11 that content is going to be in that solicitation.

12 We're going to be involved with NIST on
13 the interoperability framework. So they've been
14 tasked to lead on putting together what that
15 architecture framework will be for
16 interoperability and the interoperability
17 standards. And we'll be working very closely with
18 them on the task force, as well as other
19 organizations.

20 Again, we'll put the definition behind
21 the structure in place to implement matching fund
22 program, if that is funded. We also feel that
23 it's necessary for us to coordinate with the
24 states, obviously. I mean if you want to
25 implement anything, you know, at the state level

1 you really need to work with the state and state
2 organizations and their regulators and legislators
3 to educate on what it is that's ongoing at the
4 federal level. So that they can be making
5 informed decisions at the state level.

6 We're going to -- and, then, of course,
7 the last bullet there is work very closely with
8 the electricity advisory committee. They'll be
9 the ones, again, I think, that set our overall
10 direction, and help us on some key issues, and
11 will be the ones that actually make sure that that
12 gets done.

13 So, again, task force. We formed in
14 late March; we had our first meeting then. We
15 have our next meeting at the end of this month, so
16 we'll be basically meeting four or five times a
17 year to coordinate the efforts and try to
18 accomplish what we've been tasked by Congress to
19 do.

20 Here's the composition of the task force
21 that I briefly mentioned earlier. Myself, I'll be
22 the Director of the task force. Also Hank
23 Kenchington, Larry Mansueti and Phil Overholt from
24 my office here, that represent different aspects
25 of the electricity delivery system. We'll be

1 members of the task force.

2 Another organization here at DOE, energy
3 efficiency and renewable energy, will be
4 represented on the task force, as well.

5 Also the National Engineering Technology
6 Laboratory in West Virginia is represented on the
7 task force. As well as the Department of Homeland
8 Security, the Environmental Protection Agency,
9 Federal Energy Regulatory Commission, National
10 Institute of Standards and Technology, UNDA and
11 DOD have been invited, but they have not appointed
12 someone yet to participate in that task force.
13 But I do believe that's forthcoming.

14 So, what are some of the activities that
15 we feel that are very important to accomplish and
16 to tackle as we embark on trying to do these
17 things. And I briefly heard, maybe the last 15
18 minutes of Richard's talk, but some of the things
19 he was mentioning, you know, ring very clear with
20 me and what we're trying to accomplish here at the
21 federal level.

22 And the first thing is, you know, what
23 is the definition of smart grid. I know he
24 mentioned that, and I've heard that mentioned in a
25 couple of the questions. That's something we have

1 struggled with for years, as you can imagine.

2 We've put a lot of money into an effort
3 for the last year and a half with -- through the
4 National Engineering Technology Laboratory. And
5 their modern grid strategy, their modern grid
6 initiatives. And what we've asked them to do was
7 really not to out unless tried in a consensus
8 fashion with many many stakeholders. Come up with
9 an agreed-upon definition. What is a smart grid;
10 what kind of increased functionality are we
11 envisioning; what kind is realistic to really try
12 and strive for.

13 And they held regional meetings
14 throughout the country over the last, you know,
15 18, 24 months, again to arrive at a fairly
16 consistent, agreed-upon, very high-level now,
17 definition of what smart grid is.

18 So, now we feel we have a pretty good
19 buy-in on what that definition is, what the
20 functionality is that we're all trying to
21 accomplish here. We really felt that the next
22 step was to then again reach out to all the
23 stakeholder communities and say, okay, if, in
24 fact, this is the definition of -- if this is the
25 kind of functionality we're trying to enable here,

1 what does that mean as far as how do we know if
2 we're making any progress towards getting there.

3 So, what kind of indicators, or what
4 kind of metrics can we hope to establish that
5 would help us monitor enabling the functionality.
6 So, you know, progressing, transitioning to the
7 smart grid, what are those metrics.

8 So we're going to hold a workshop on
9 June 19th and 20th, where we're really trying to
10 get at this issue, what are the metrics, what are
11 the challenges that go with the metrics, are they
12 even measurable. What are the challenges with
13 collecting that information, that data.

14 So we feel if we have a definition in
15 place, and we have a way of monitoring measure of
16 our progress, that we'll be making some progress,
17 ourselves. For one, just far as, you know, our
18 requirement to report to Congress the status of
19 implementing the smart grid every other year,
20 we're really going to need this kind of
21 information in order to be able to report to them
22 on these metrics, on these indicators, on that
23 status of implementation of smart grid.

24 So, we really thought that was, you
25 know, the first two steps we're going to need to

1 take before we started doing too much else, before
2 we really get into the demonstrations and the R&D,
3 we really need to first come to agreement as to
4 what the definition is, and how do we measure
5 progress towards enabling that definition.

6 So, again, that'll be June 19th and 20th
7 here in Washington, D.C. And, of course, results
8 of all this stuff will be made -- will be put up
9 on a website and made publicly available for
10 anyone and everyone to utilize as they wish.

11 So, here basically is the definition, in
12 short. That I would say we've pretty much agreed
13 upon in a very broad sense with many stakeholder
14 groups. And I'll just briefly, you know, read
15 them to you. And you can see that they're high
16 level and pretty general in nature. But, they do
17 touch on some of the things I heard, you know,
18 demand response and distributed generation, these
19 sort of things.

20 So enabling active participation by the
21 consumers, so empowering the consumer, including
22 the consumer in the solution rather than just at
23 the problem. So how do we utilize end-use
24 devices; how do we balance the system better. So
25 that's what that one's about.

1 Accommodating all generation -- so,
2 let's look at how to better integrate renewables;
3 let's look at how to better accommodate both
4 customer-owned and utility-owned generation and
5 distribution voltages. So, there's markets that
6 potentially we could open up and enable by, you
7 know, putting in place this kind of
8 infrastructure.

9 Optimizing assets and operating
10 efficiency. Obviously we want to figure out a way
11 to, you know, flatten the load curve, utilize what
12 we have. The existing infrastructure, utilize it
13 better, utilize it more than we currently do. Not
14 just, you know, build the current model where we
15 build to peak, utilize, you know, our assets with
16 very short-run hours on a yearly basis. There's
17 got to be a better way to operate the system.

18 Anticipate and respond to disturbances
19 in a self-healing manner. So this is the self-
20 healing characteristic, the -- reconfiguration.
21 You might have heard some people speak to, mention
22 that we'd really like to see that increased
23 functionality in the grid.

24 More resilient to those physical and
25 cyber attacks. I mentioned that earlier. And

1 offering, you know, providing power quality for a
2 range of things. So, in terms of our tailored
3 power quality, if you will.

4 These are really the overall -- again,
5 they're kind of high level and general areas. But
6 you can see, you know, aspects of increased
7 functionality in each of these things that would
8 really, I believe, add value to the system.

9 So, again, the workshop is that next
10 step on finding out, number one it's an
11 opportunity, I believe, to get agreement on yes,
12 these are the characteristics we're talking about.
13 This is the definition we're talking about.

14 Then let's start talking about metrics,
15 measuring progress towards that smart grid. Get
16 some brainstorming around, get some ideas, get
17 some consensus around how we're going to all
18 measure ourselves. And then how we scope the
19 measuring verification.

20 And, again, I think those are the first
21 two steps the task force will need to take, the
22 definition and the metrics, so that we can use
23 this information to feed into, again, the report
24 to Congress that we are on the hook to produce.
25 What our R&D plan is; what the regional

1 demonstrations might consist of.

2 If we know what we're trying to enable
3 and how we're going to monitor it, we can start to
4 build and put together some fairly large-scale
5 regional demonstrations.

6 And when I say regional demonstrations,
7 let me just give you an idea of the magnitude of
8 this. I think we're talking somewhere in the
9 order of, you know, three- to five-year kind of
10 demonstrations; \$20- to \$30-million range per
11 demonstration.

12 To give you an idea, these are the
13 groups that -- I just thought I'd throw this up to
14 show you that we're partnering with many different
15 stakeholder groups, but these particular ones here
16 on this slide are the ones that are involved in
17 pulling together the workshop that I mentioned on
18 June 19th and 20th.

19 So, I thought I'd give you a little bit
20 of an update on where we're going with some of
21 these things: The report to Congress that talks
22 about implementing the smart grid; where are we;
23 some of the requirements for this report is,
24 again, what's the current status, so where are we
25 now.

1 What are some of the regulatory or
2 government barriers that might be in place to
3 implementing the smart grid. Are there any
4 recommendations potentially that we could give to
5 state or federal policies or actions that might
6 help enable the smart grid.

7 And, really, do we need to look,
8 consider things on a regional basis. You know,
9 how might things be measured or monitored
10 differently depending on what region of the
11 country you're in.

12 So, again, what our approach is, we're
13 going to leverage highly the work that's been
14 previously done, as well as the workshop coming up
15 next month. We've been talking a little bit with
16 a group called APQC on their maturity model.

17 They've done some work with a utility
18 group that's really looked at the smart grid
19 question and said, okay, how would we measure
20 ourselves, you know. What are the different
21 levels of maturity in reaching a smart grid, and
22 how do we define those.

23 They've already done some work amongst
24 themselves, and we thought we could really
25 leverage not only in the workshop, but moving

1 forward on implementing the smart grid in general.

2 And, of course, we're working with FERC
3 and NARUC to form their smart grid collaborative.
4 And they've just announced, two weeks ago, on the
5 regulatory policy aspect of this.

6 So, this report, pretty much we have a
7 statement of work in place with Pacific Northwest
8 National Lab to help us gather this information
9 and assemble the information in a report. And I
10 believe we're pretty much on schedule for delivery
11 this December.

12 The technical report is one that looks
13 at the effect of private wire laws. And we have
14 negotiated a statement of work with Navigant
15 Consulting to help us, again, really do an
16 analysis and a study of the regulations that are
17 in place, what will be the impact on potentially
18 changing some of these, or if there are any
19 recommendations for changing them. Why are they
20 in place; what's the benefit of having them.

21 The approach we thought we'd take is
22 let's look at a few key states and really do a
23 deep dive on what their laws and policies are and
24 why they're in place. So that we can paint a
25 pretty good picture for Congress as far as what

1 the current status is out there.

2 From that, you know, potentially you
3 could extrapolate for the different areas of the
4 country, on what the impacts would be of changing
5 things, or not changing things.

6 So that report, again, I think we're
7 well positioned to deliver that in December, as
8 well.

9 The third report, however, on the
10 security of the smart grid, we haven't really done
11 anything at this point. We've been concentrating
12 predominately on the definition of smart grid and
13 the workshop, as well as this report.

14 And we haven't started tackling this
15 report yet. So, you know, any guidance or
16 suggestions that anyone might want to add to this
17 area would be greatly appreciated. Obviously
18 we're going to work closely with DHS on this one,
19 as well as NERC and FERC, to really find what
20 approach we should follow in order to really get,
21 you know, the best information we can to prepare
22 this report for Congress. And this one, again, is
23 due next June of 09.

24 So, the other area that we have focused
25 on in the past, and I believe we'll continue to

1 focus on, that I heard Richard also mention, is
2 this idea of interoperability.

3 NIST has been given the daunting task of
4 looking at the interoperability landscape, if you
5 will, what are the, you know, what's in place now.
6 What kind of standards are out there now as far as
7 interoperability. Where are the holes; where
8 might standards be needed that they could
9 identify.

10 So they're really taking a broad look at
11 the status quo right now. And they need to
12 recommend to Congress what path to pursue in order
13 to develop and implement an interoperability
14 framework in the electric sector.

15 So they're working with groups that we
16 have funded in the past, the Gridwise
17 Architectural Council, as well as several other
18 groups that we're working with, -- and IEEE and
19 NERC and FEMA and federal and state agencies. And
20 I know that FERC and NARUC are both very
21 interested in these kinds of things.

22 So, they're in a fact-finding mode right
23 now. I believe one of the things they are going
24 to do within the next few weeks here is pull
25 together what they call a stakeholder outreach

1 group that, you know, is more of a formalized
2 group for getting that guidance and input on where
3 they need to go, and the directions they need to
4 follow.

5 I think they're also planning on putting
6 up a website on what they are doing in the
7 interoperability architectural framework. And
8 what all the different groups are doing; and how
9 they plan to proceed to help them facilitate and
10 guide them. So they really seem themselves as
11 more of a conductor of this rather than a creator
12 of anything. So, the task force will be assisting
13 them on that.

14 Communication and outreach and public
15 awareness, things that we're doing. As you
16 probably know, we had this event last year we
17 called Grid Week, where the idea was to create
18 some sort of national event around this new
19 industry we're going to call the smart grid
20 industry. It was very successful. Last year we
21 had over 600 participants. We had many good
22 speakers speaking about policy of something like
23 this, the technologies needed, the hurdles we need
24 to get over, both technologically and
25 regulatorily. So I thought it went very well last

1 year.

2 This year we have teamed up with the
3 Gridwise Alliance to -- or partnered with them, I
4 should say, to really start to develop the agenda.
5 As well as other organizations. I believe IEEE
6 and EEI are all on -- have been very engaged in
7 helping us put together the agenda for next year.
8 So, again, that Grid Week is going to be September
9 -- is going to be September 23rd and 25th. Again,
10 here in D.C.

11 And I just put up here some bullets on
12 what the different tracks, sessions are going to
13 be focused on. As you can see, it's all smart
14 grid related activities.

15 We're also, as far as public awareness,
16 we're supporting -- and again, I heard Richard
17 mention some of this -- we're supporting the
18 development of a smart grid book, if you will. I
19 know I put guidebook up there but it's more of a
20 smart grid educational piece, it's not really a
21 guidebook, a smart grid book.

22 So, it's going to be a book that talks
23 about, you know, why are we doing this; why do we
24 need this as a nation. What's going to be the
25 value of doing this. Who's involved in doing

1 this; what are the different players. So it's
2 more of a resource to help, for lack of a better
3 term, you know, raise the awareness and rally the
4 troops behind a common definition and a common
5 idea of what the benefits and value is going to be
6 for doing this.

7 So that book is under development and
8 the idea is hopefully it'll be completed and ready
9 to be rolled out at Grid Week in September. So
10 we're diligently working to produce that book now.

11 So, again, any input and any
12 participation that the State of California wishes
13 to, at whatever level they wish to participate in
14 producing what goes into this book, I think that
15 will be more than welcome.

16 We also fund a smart grid newsletter.
17 We're not the only founders of this, let me just
18 say that upfront. We're one of the supporters of
19 the newsletter. So it's not a DOE smart grid
20 newsletter.

21 It's a smart grid newsletter, it's a
22 private entity, but we do contribute to producing
23 this report. And we hope that, again, it just
24 raises the awareness, not just what DOE is doing,
25 but what we're doing as a country, to move towards

1 enabling, you know, a smarter infrastructure.

2 So, as more of a DOE-related activity,
3 last year we came out with our R&D plan here at
4 the Office of Electricity Delivery and Energy
5 Reliability in which we identified four key
6 strategic opportunity areas that we thought would
7 be, you know, over the next five years the focus
8 of our R&D.

9 One of those was smart grid; one was
10 climate change; one was more emphasis on modeling
11 analysis, especially at the distribution level.
12 It was really our thought that, you know, that at
13 the transmission level there's probably much
14 higher fidelity models than exist at the
15 distribution level. And that that was a ripe
16 opportunity area for developing some higher order
17 models that really can start to look at I would
18 say technology impacts as far as implementing
19 smart grid functionality.

20 So, is there a, you know, a way that we
21 can simulate some of the value creation by some of
22 the increased functionality that we're envisioning
23 from the smart grid. If we can do it in a model
24 first before we go out and try to spend a lot of
25 money demonstrating or implementing some of these

1 things, we thought it would be key to really look
2 at some modeling.

3 As an example now that end-use
4 technology is yet the whole idea of plug-in hybrid
5 electric vehicles, and what impact potentially
6 might they have on the electricity delivery
7 system. So, that would be one example of a
8 technology that we can really study and model to
9 see what the effect might be.

10 And there's others, -- more appliances
11 or whatever the other end-use technology is;
12 whatever they are, whatever they are going to be,
13 that we can really plug into the model and see,
14 again, an indication of what the impact might be.

15 So, we identified that. And then, of
16 course, continue to partner with outside
17 organizations to enable the transition to a more
18 modernized infrastructure.

19 So, this is my last slide, I believe,
20 and just -- or, yeah, I'm going to have one more,
21 but I just wanted to give a little bit of an
22 indication of some of the R&D that's ongoing
23 without getting to specifics, that are targeted at
24 the different functions that are identified in the
25 definition of a smart grid.

1 So, you know, as far as operational or
2 system efficiency in making the system work more
3 effectively and efficiently, we're doing research
4 in superconducting cables and other advanced
5 cables; we're looking at advanced grid components,
6 substation automation. So the idea was just to
7 give you a little flavor of the things we're
8 doing.

9 And -- resiliency, we have real-time
10 monitoring. You probably heard of some of the
11 visualization research products; we have ongoing -
12 - interconnect phaser project it used to be
13 called, where we're looking at phaser measurement
14 units and how to give a broader view of what's
15 going on. So visualization is key there.
16 Situation awareness, advanced control systems,
17 and, again, I mentioned interoperability.

18 We're also looking at improved power
19 quality through storage technologies, high voltage
20 power electronics, and (inaudible). And then,
21 asset optimization, generation diversity, consumer
22 empowerment, which is a number of different
23 functionalities or characteristics that I
24 mentioned in the definition of a smart grid.

25 We're looking at integrating renewables,

1 shaving peak load, looking at microgrids and
2 different ways to do demand response. So, a
3 number of things all ongoing.

4 Now, I don't want to give the impression
5 that we're doing a lot in all these areas. We're
6 doing a little bit in all these areas. I mean our
7 funding is very much limited, as you can imagine.
8 But we are doing a little bit in each of these
9 areas. Just wanted to give you a flavor.

10 I believe, with that, if there's any
11 questions or anything, I will thank you again for
12 inviting me to give you an update on what we're
13 doing here, and I look forward to collaborating
14 with you in the future. Thank you.

15 PRESIDING MEMBER PFANNENSTIEL: Thank
16 you, Eric. This is Jackie Pfannenstiel. Really
17 appreciate your being willing to share this with
18 us, a lot of very very useful information.

19 I believe Commissioner Rosenfeld has
20 some questions.

21 ASSOCIATE MEMBER ROSENFELD: Eric, good
22 afternoon.

23 MR. LIGHTNER: Good afternoon.

24 ASSOCIATE MEMBER ROSENFELD: I wanted to
25 mention a couple of conflicts. We're very

1 interested in your June 19th workshop. We have a
2 workshop here called Enabling Technologies for
3 Demand Response. So, I guess we can't send
4 anybody from the CEC, or probably from the PUC.

5 But I talked to Joe Eto this morning and
6 he's going, and he's pretty familiar with all the
7 things we're trying to do, so I guess we'll get
8 represented from him.

9 I wanted to make a tiny comment about
10 demand response, which, from my personal point of
11 view, is one of the first and big things we can
12 work on.

13 We update our building and appliance
14 standards every three years. So, I, at least,
15 have done a little bit of thinking about not so
16 much plug-in hybrids, it seems to me that more
17 people are thinking in the country about plug-in
18 hybrids, and there are going to be plug-in hybrids
19 for the next foreseeable future.

20 Oh, dear, a ceiling tile just fell down.

21 (Parties speaking simultaneously.)

22 ASSOCIATE MEMBER ROSENFELD: But we -- a
23 little distraction here -- we are in a position to
24 think about having requirements that new buildings
25 be able to respond to global temperature setups

1 which would give you good demand response. And
2 even thinking about controlling of lighting
3 ballasts so you could do regulation up and
4 regulation down with ballasts instead of having to
5 wait for hybrids.

6 So, we're very interested in your
7 remarks about that. Anyway, a jolly good talk,
8 thank you.

9 MR. LIGHTNER: Well, thank you very
10 much. I think one of our key stakeholder groups
11 is, in fact, the building community. I mean I
12 know the buildings program within EERE here in DOE
13 has been very interested in participating in the
14 smart grid research and development department
15 activities through the task force. And is very
16 interested on how we're going to tie in, and what
17 that linkage point is, between, you know, smart
18 building infrastructure and the smart grid, and
19 the utilities. What is going to be that
20 integration point; how that's to work together.

21 So, I know they are very interested in
22 that. And we plan on, again, coordinating our
23 efforts very closely, working with them to, you
24 know, hopefully come up with a productive path
25 forward as far as that goes.

1 Now, I know there's been some talk on
2 pulling together some sort of initiative where
3 we're looking at how really to plot a path forward
4 on smart appliances. You know, what sort of
5 standards potentially do we need to consider and
6 look at in order to put that in place.

7 More intelligent appliances that can
8 respond to different kinds of signals, whether it
9 be a frequency signal or a market signal or a
10 demand signal, whatever.

11 But I know that they have expressed a
12 lot of interest in some sort of multi-agency
13 collaborative in this area. So that's one thing
14 that comes to mind.

15 PRESIDING MEMBER PFANNENSTIEL: Thank
16 you, Eric. Again, we really appreciate your
17 excellent talk, really good information.

18 Okay, back to the room here. We're
19 about quarter after 12. I was going to suggest
20 that we break for exactly an hour, and get back
21 here at 1:15.

22 Any other logistics, David or Gabe, that
23 we should alert people to?

24 MR. HUNGERFORD: No, just try to get
25 back here by the hour, by 1:15, so that we can get

1 through --

2 PRESIDING MEMBER PFANNENSTIEL: Get back
3 and start --

4 MR. HUNGERFORD: -- the afternoon's work
5 before 5:30 or so.

6 PRESIDING MEMBER PFANNENSTIEL: All
7 right, thank you.

8 (Whereupon, at 12:15 p.m., the workshop
9 was adjourned, to reconvene at 1:15
10 p.m., this same day.)

11 --o0o--

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 AFTERNOON SESSION

2 1:22 p.m.

3 PRESIDING MEMBER PFANNENSTIEL: We're
4 about ready to begin the afternoon session. So
5 the afternoon panel, the first one, contains
6 representatives from the investor-owned utilities.
7 And we'll hear their perspectives on the smart
8 grid.

9 I have one announcement about the sign-
10 up. I guess the sign-in list has a place for
11 people's email addresses; and please put your
12 email addresses if you want to be on the docket
13 for the future information for the next hearings,
14 the next workshops we're going to have on this
15 topic.

16 With that, Mr. Hungerford.

17 MR. HUNGERFORD: All right. With us
18 today we have Terry Mohn, Mike Montoya and Andrew
19 Tang from the investor-owned utilities. And
20 they're going to give us each a short presentation
21 on their smart grid related activities. And then
22 we'll have a discussion which the Commissioners
23 will lead.

24 And so with that I think the first, in
25 no particular order, I think the first one we have

1 here is already opened, and it happens to be
2 SDG&E. Terry.

3 MR. MOHN: Good afternoon. Thank you
4 for inviting us. I'm Terry Mohn; I'm a strategist
5 with SDG&E. I'm also the Vice Chairman of the
6 Gridwise Alliance. And I'm actually going to
7 split this talk into two sections.

8 The first half of the presentation I'm
9 going to focus on the activities that are
10 occurring both in the utility and the vendor
11 communities, kind of a corollary to what Eric
12 Lightner was talking about at the federal level.

13 I'm going to kind of share my
14 experience, what I've seen occurring at the
15 national level. The slides here are actually
16 pretty similar to the same slides that I gave last
17 week at the national conference of the state
18 legislators. It was a pretty well-attended
19 conference.

20 So what I'm going to do is I'm going to
21 try and give you a perspective of what I see
22 happening from my position in an industry work
23 group called the Gridwise Alliance.

24 So this is the overall outline of the
25 presentation. I'm going to split it with my

1 colleague, Tom Bialak. He's going to talk a
2 little bit about what we're doing in San Diego
3 that pairs nicely with what we're doing at the
4 national level.

5 So, we've seen earlier this morning
6 quite a bit of discussion about the requirements
7 around smart grid. The fact that I think
8 uniformly we're seeing the very same fundamental
9 requirement that you need communications to enable
10 the information flow, either from the edge of the
11 network back to the back office, or the ability to
12 enable the capability of sensing that events that
13 are occurring.

14 That's one form of communication being
15 able to collect the data. But we also want to be
16 able to send control signals out to that certain
17 sorts of devices.

18 So there's a necessity for ubiquitous
19 communications. And this is one of the
20 fundamental building blocks that we've seen, and
21 we see occurring over and over in all the various
22 implementations of early pilots of this smart grid
23 technology.

24 We're also seeing quite a bit of
25 evolution in the operational and information

1 technologies. Now, those of you who have been in
2 the internet space know the informational
3 technologies are pretty well characterized. We've
4 seen an enormous growth of capabilities that ten
5 years ago nobody envisioned for the internet, but
6 today just a wonderful wealth of opportunity for
7 entrepreneurs.

8 On the operational side of technologies,
9 what we're seeing is that there's an amazing
10 growth of digital technology being embedded in
11 what have been traditionally electromechanical
12 devices. That creates some interesting
13 opportunities and some challenges. And I'll get
14 into that in just a little bit.

15 So, from a national perspective, the
16 stakeholders that I'm talking about in the
17 Gridwise Alliance is a composition of system
18 integrators, of large manufacturers of equipment
19 for utilities. It's venture capitalists. And, of
20 course, utilities.

21 We see that the definition for smart
22 grid is pretty well defined, at least from our
23 perspective, by the Department of Energy. Eric
24 Lightner, earlier this morning, talked about the
25 modern grid initiative that they've funded. They

1 did a lot of work in building consensus for all
2 those participants over three years. And the
3 results of that work then actually ended up in the
4 Title 13. And we think that those are pretty
5 accurate assessments of what reflects kind of a
6 smart grid.

7 And I think that we've also found that I
8 think one of the speakers said you really can't
9 take a photograph of what a smart grid is. I
10 think our belief is that it's more of a philosophy
11 and a way in which we evolve toward an ever richer
12 and richer future.

13 So, some of the attributes that we see
14 at the national level are that a smart grid
15 eventually will be able to detect and fix emerging
16 problems. It's not that we expect all the devices
17 to act on their own, but they'll be embedded with
18 rules that can perform certain duties. It's still
19 going to require somebody from an analytical
20 perspective to embed those rules in those devices
21 that are going to make those decisions.

22 Eventually, even though we have a
23 centralized model today, where information flows
24 to perhaps emission control, eventually a lot of
25 those decisionmaking activities will occur closer

1 and closer to the edge of the network. But today
2 they're really focused in a more central
3 environment.

4 One of the things that Eric Lightner
5 talked about is his requirement to develop the
6 metrics around characterizing the growth of smart
7 grid. And we think that's absolutely important.

8 Being able to reroute flow, power flow
9 in real time based on events that are occurring,
10 whether they're perturbations or whether they're
11 economic decisions, is something that we need to
12 incorporate.

13 We've talked very heavily about -- when
14 you talk about the utilities that are involved in
15 the Gridwise Alliance, we have a representative
16 cross-mix of every state, just about every state
17 in the United States. Some are deregulated; some
18 are regulated. But they all have different
19 requirements for what generation requirements are,
20 and what their ability to serve their end
21 customers.

22 So we really need a rich array of
23 different generation capabilities. And so we want
24 to incorporate that into our overall design.

25 And then finally, the use of modern

1 tools. This is the perspective that getting back
2 to the topic of the internet where, you know, the
3 basic infrastructure was laid out for us 15 to 20
4 years ago. And we've built upon that year after
5 year.

6 All of this innovation has arisen
7 because we've developed tools that were
8 essentially standardized. And so that's what we
9 want to look for towards our future in the smart
10 grid.

11 Looks like we have a problem with --
12 we're cut off here, but one of the areas that
13 we've talked quite a bit about is how do we
14 incorporate new generation and new ability to
15 reduce the greenhouse gas effects.

16 And we think that through the use of
17 smart grid technologies we'll be able to reach
18 that goal. So it's a matter of designing the
19 system in such a way that we can incorporate new
20 generation, or new generation capacity.

21 So, if this were a snapshot of the state
22 of the art today, we're still very much very
23 focused on electromechanical devices. We have a
24 lot of manual processes. Almost every utility
25 still is focused on being able to serve their

1 customers with either clipboard, some utilities
2 are moving towards modernization with mobile data
3 terminals and some sort of electronics. But I
4 don't think that that's the norm. I think that
5 we're still really manually based in all of our
6 processes.

7 A lot of the communication technologies
8 are still pretty outdated in terms of what's
9 available to the consumer. If you look at your
10 cellphone and what you can do with your cellphone,
11 you can have -- there's this new technology called
12 mediaflow where you can actually see television
13 shows right on your cellphone -- those are
14 possible because the consumer space has really
15 grown and flourished. And they've asked for new
16 capabilities. And the suppliers of the technology
17 is making it possible.

18 But we have technologies that are very
19 ingrained in the utility sector that don't evolve
20 as quickly as the consumer products do. To be
21 able to sense the perturbations on the environment
22 and the distribution grid and transmission grid we
23 need more sensors. Today we really don't have
24 that many.

25 And, again, because it's a manual-based

1 process, primarily we have very little automation.

2 So the utility of the future, what we
3 see occurring is that we're moving rapidly toward
4 a digital society. Not only do we have digital
5 systems in our emission control, but we have
6 digital systems in our operational elements, such
7 as switching, relays, and then as we move down
8 closer to the customer, into our metering systems.

9 We're looking more towards advanced
10 communications. What this means is not only is it
11 that you're sending a large volume of data in both
12 directions, but this flow of data is occurring at
13 a very fast speed.

14 There's different ways in which you can
15 characterize it. You could say, well, we're going
16 to go to full broadband to every end point. But
17 the question is what are the economics of going to
18 full broadband. Is there an economic balance
19 where you don't have to have the same sort of
20 broadband characteristics that consumers have in
21 their home to actually achieve the goals that
22 you're looking for in a smart grid. And I think
23 there is a good balance.

24 As we go into a little bit deeper study
25 that particularly what SDG&E is doing around our

1 smart meter and so forth, you'll see that there is
2 a good balance. And we figured out the economics.

3 The utility of the future is going to
4 focus on the ability to recognize that events are
5 occurring and to correct them in real time.

6 Correcting them in real time could occur
7 in a number of ways. It could be just by using
8 smart relays that change the direction of flow, or
9 incorporating distributed generation that is owned
10 by the consumer. And then start to island off
11 sub-communities.

12 Lots of sensors is absolutely a
13 fundamental requirement for us to be able to
14 determine what's occurring in the power grid. A
15 lot of the utilities that are deploying smart
16 metering infrastructure, they're recognizing that
17 their meters, being digital, have different
18 characteristics than old electromechanical meters.
19 And we are using those meters, actually, as
20 sensors.

21 So, we can develop a portfolio of our
22 power quality, either what we're providing to our
23 customers, or what the customers are requiring of
24 us, by just collecting information that we can
25 characterize from our meters, themselves.

1 And then we're going to quite a bit more
2 automation in our control systems. And my
3 colleague, Tom, will talk about a little bit of
4 what we're doing in that area.

5 So this is a slide that I'd like to talk
6 about, about the three main categories that we see
7 the utilities taking and moving towards a smart
8 grid. The first one, this category is more or
9 less business as usual. Knowing that as you make
10 your investments in technology, eventually that
11 technology that you procure will be embedded with
12 some sort of digital capability. You'll install
13 it; you'll use that technology in the way you've
14 always used it, but some day in the future you'll
15 be able to use that new feature that you didn't
16 really request, but it was just provided to you by
17 the manufacturers.

18 What we're seeing is that the definition
19 for smart grid, particularly after listening to
20 Richard speak, that this is a worldwide movement.
21 And recognizing that event, the manufacturers that
22 are selling into this market are global
23 manufacturers.

24 So what we need to do is define the
25 characteristics for the state that follow not only

1 the national requirements, but also help
2 transition change to the manufacturers that are
3 serving the global market.

4 Recognizing that that's going to occur,
5 as well, then as we start to procure those
6 products from those global manufacturers, those
7 products will have embedded characteristics.

8 This gets back to the whole point of
9 business as usual. As we go out and continue to
10 buy technologies that replace, you know, aged
11 assets, those new products will have the
12 capabilities that eventually will lead to a smart
13 grid.

14 So that's one category that we see
15 occurring just on its own without any momentum by
16 a national or state direction.

17 The second category that I see occurring
18 is the so-called utility of the future business
19 case that some utilities are putting forward. A
20 couple good examples are Duke, Austin Energy,
21 Consumers Energy, and I'm sure there's a couple
22 others, where they have described business cases.
23 They've taken those business cases to their public
24 utility commission for approval for a very large
25 investment, and completely replacing major

1 portions of their infrastructure.

2 If I could characterize the very first
3 category as evolutionary, the utility of the
4 future, I think, the so-called utility of the
5 future is revolutionary. Because what these
6 utilities are saying is they're taking a look at
7 all their core systems, their operational systems
8 and their information systems, and saying, how do
9 we merge these together from a top-down, holistic
10 view. I think this is what Richard was saying.

11 From a systems approach, look at how we
12 put all these pieces together and then start
13 building it. This is a very large investment.
14 And like I said, a couple utilities are moving in
15 that direction.

16 Another direction, and the third that I
17 think is revolutionary, is the direction that a
18 lot of utilities, particularly here in California,
19 are taking, which is deploying smart meters.

20 We're seeing that a lot of the
21 characteristics that you need in a smart grid are
22 occurring in the technologies provided by the
23 vendors in the smart meter community.

24 Two years ago when California first
25 started looking at vendors in this space we found

1 that there were very few that actually offered
2 smart grid capabilities. But as we continued to
3 ask them for the ability to evolve our
4 infrastructure to take on new characteristics,
5 they started coming to the table with more
6 advanced technologies.

7 One of the things that we looked at from
8 the very foundational element of smart metering,
9 and this is very common for all the utilities that
10 I've talked to, is they need to have a good
11 communications infrastructure. This is what I
12 said early on in one of my earlier slides, if we
13 get the communications right, we can build upon
14 that.

15 Getting communications right doesn't
16 mean, though, it has to be internet-grade
17 communications. It has to be economic and it has
18 to perform according to the requirements that we
19 have, and that we envision if we take a holistic
20 view.

21 So those are the three kind of
22 categories that I see most utilities progressing
23 along the smart grid path.

24 This slide here, I don't know if you can
25 all see it, because of how dark it is, but this is

1 a slide that pretty well describes the
2 participants in the national movements. The range
3 on the left-hand side at the federal level,
4 starting at FERC, working its way down to lower
5 level, which are the implementations and pilots.
6 Those are organizations focused in some degree on
7 a direction for the country around smart grid.

8 In the state we have -- the CEC is
9 probably the preeminent organization that's
10 focused on this particular area. And there are a
11 couple other agencies that are involved at the
12 state level.

13 And then in the private area there are a
14 number of organizations, one of which I mentioned,
15 the Gridwise Alliance. Some of you may have heard
16 about the Galvin initiative. EPRI intelligrid was
17 discussed this morning. And there are a couple
18 standards bodies that a lot of us utilities in
19 California are working on, such as open AMI and
20 utility AMI.

21 One of the things that I pointed out to
22 the national conference of state legislators is
23 there is still a gap here across the country about
24 what every state needs to be looking at in uniform
25 degree with the other states.

1 It's one thing for the federal
2 government to take a position; it's another for
3 one state to take a position. And then, of
4 course, for the alliances to take a position. But
5 how do we insure that all the decisions that occur
6 across the 50 states are uniform. Because
7 remember, this is a worldwide market. We want to
8 make sure that the decisions we make, even at the
9 state level, still adhere to some sort of
10 direction that we can give to the vendors who
11 actually sell us the products.

12 So this is where I'm going to transition
13 to my colleague, Tom.

14 MR. BIALAK: Thank you, Terry. Tom
15 Bialak, Chief Engineer, Electric -- Asset
16 Management, SDG&E. It's kind of interesting,
17 Terry and I sort of go back and forth. We work on
18 these areas together. And Terry gets out there
19 and gets through to the visioning stuff, and do
20 other things, and then he comes back and he says,
21 gee, what do you think.

22 And then off we go and say, well, okay,
23 now we're the implementers; we need to put this
24 into practice; what do we need to do; why do we
25 need to do it. And now we're going to do it in a

1 particular timeframe.

2 What this slide here shows in particular
3 for SDG&E, some of the issues that we see with
4 regards to drivers, some challenges with regards
5 to smart grid.

6 Clearly we have an aging infrastructure
7 issue in California, as well as do all the other
8 utilities in the rest of the country. How are we
9 going to handle that aging infrastructure. And we
10 believe that ultimately the application of
11 technologies and systems that the smart grid will
12 bring into play will help us deal with that in a
13 much more optimal fashion than what we would
14 currently be doing otherwise.

15 We also have a maturing workforce. And
16 that's also a big issue because all the skilled
17 people are retiring, so now who gets to fill their
18 shoes. And it gets real hard. I think every
19 utility around will tell you they're trying to
20 find an employ highly skilled workforce, and
21 everybody is struggling to find the same people.

22 And so, again, applying technology,
23 applying systems, trying to help leverage through
24 the smart grid, help leverage that maturing
25 workforce.

1 We also see that a driver is to help
2 achieve and integrate policy goals into each of
3 these operations. That includes things like the
4 Energy Action Plan loading order, renewable
5 portfolio standards, as well as empowering
6 consumers. We believe that through smart grid and
7 through smart grid applications, and through AMI,
8 consumers will have a choice, they'll have
9 opportunities to do something about their energy
10 usage to minimize their bill impacts.

11 Potential challenges that we see.
12 Clearly there's regulatory changes that arguably
13 need to occur. How are we, as an IOU, going to
14 move forward, get cost recovery for these types of
15 technologies, given that in particular for some of
16 the IT kinds of systems, the useful life is
17 significantly less now than what would otherwise
18 occur for normal wires or transformers.

19 The complexity. One of the things that
20 seem -- Richard gave another interesting
21 presentation at other conference, the prior EPRI
22 CEC smart grid, when he talked about well, what is
23 the sort of optimal path for intelligence. So
24 what does that look like. And it actually becomes
25 very sophisticated and very complicated problem to

1 resolve.

2 And I think Eric Lightner also pointed
3 that out, that it is a problem, it is a challenge,
4 and how to best do that so that we optimize our
5 expenditures as we go forward.

6 And then lastly, just the whole
7 discussion of technology advances. Well,
8 technology is advancing. As Terry mentioned,
9 people are inventing more and more logic digital
10 systems into products we are buying today.

11 But we also have to deal with the
12 technology that we have currently in our system.
13 Our legacy equipment, how are you going to
14 interface with that. We clearly are not going to
15 be going out and doing a wholesale replacement.
16 That will be cost prohibitive.

17 And so the question is how do we get to
18 those particular older systems, how do we get them
19 to now play in the smart grid arena.

20 So, here's some of the major SDG&E's
21 smart grid initiatives. SDG&E, we'll talk in the
22 end, took a sort of falling along the lines of
23 what Richard had mentioned, a top-down approach,
24 particularly when it came to looking at
25 technologies and improvement in operations. Tried

1 to define requirements, and then now moving
2 forward.

3 We have the our AMI filing. We have
4 approval to install our AMI system. And recover
5 our cost. That included in our settlement not
6 only the meters, but also home area network and a
7 remote disconnect for all residential customers.
8 That will be incorporated as we move forward.

9 Technologies to improve operations. One
10 of the keys clearly in doing this is being able to
11 have systems in place that actually allow us to
12 take advantage of the additional data and
13 information that we, as a utility, will be
14 provided with via smart grid and via AMI.

15 We see AMI providing us basically 1.4
16 million sensors on our system; helping us
17 determine where things, where outages are
18 occurring. And ultimately, down the road, with
19 additional sensors, looking more at some of the
20 predictive kind of analytics that would allow us
21 to try to avoid outages.

22 Distribution automation. We'll talk a
23 little bit about that. We, SDG&E, we're heavily
24 automated already. One could argue it's
25 foundational for smart grid applications. We have

1 about 70 percent of our system has some level of
2 SCADA on it. And it just becomes a question of
3 now taking that the next step.

4 Distributed generation. We're looking
5 at what we can do, both from a planning
6 perspective, as well as looking at, you know, how
7 do we empower consumers. We have our sustainable
8 community program where we've looked at installing
9 photovoltaics. We have a joint application with
10 PG&E for an emerging renewables program, to look
11 at what we can do, and on various types of new
12 technologies.

13 And then lastly, we have a DOE and CEC
14 funded market research programs, looking at grid
15 design with utility-owned DG. And then looking at
16 consumer-owned DG. And trying to incorporate all
17 those in a streamlined fashion, including demand
18 response, storage and energy efficiency programs.

19 So, at SDG&E our sort of business
20 strategy is called OpEx2020. And it was in that
21 OpEx2020 there's a vast majority of programs and
22 projects that we are putting in place that are
23 basically foundational IT systems in a certain
24 case, and also will, we believe, empower the smart
25 grid applications on our system.

1 So, you see the overlap of what we're
2 calling smart grid applications and OpEx2020. We
3 start in on the right with a GIS system, which
4 will basically be our data model, data layer.
5 Integrate it with -- and utilizing that will be
6 your conditioned based maintenance, an OMS/DMS
7 system. The OMS/DMS system. FAST, which stands
8 for feeder automation system technology. And then
9 smart meters.

10 Talk a little bit about these ultimately
11 smart meters, I think pretty much everybody knows,
12 and I know there's another meeting so I won't
13 spend a lot of time there, but it's going to be
14 the ultimately sort of the gateway to the
15 customers, the gateway to provide information.
16 And we see that as a necessary means to help move
17 the smart grid forward.

18 Conditioned-based maintenance. So now
19 we're talking here about installing in all of
20 our -- primarily all of our distribution
21 substations and transmission substations,
22 equipment that will allow us to move from a
23 reactive maintenance schedule to predictive
24 maintenance schedule. And then also to use that
25 information to be able to make decisions with

1 regards to operating our system.

2 We see in the longer term that that's
3 going to head down the real time rating path,
4 another sort of arguably goal of some of the smart
5 grid applications. As well as provide data and
6 input into some of our asset investment strategy
7 pieces.

8 OMS/DMS, we see this again as sort of
9 another overlapping foundational system. It
10 stands for outage management system/distribution
11 management system. SDG&E has had, for many years,
12 an outage management system that was home grown.
13 We are looking now to take advantage of the AMI
14 system, to leverage the metering information that
15 we're going to get.

16 And to a new outage management system
17 that will also take information relative to the
18 health of transformers and breakers in the
19 substations initially. And then move forward with
20 a distribution management system where we can make
21 sort of real time, sort of what-if kinds of
22 applications. How do we actually operate the
23 distribution system such that we can optimize
24 perhaps losses or renewable generation or
25 greenhouse gases, or just restoring service to our

1 customers.

2 FAST or feeder automation system
3 technology, this is really the whole self-healing
4 grid concept. We are looking at both a
5 centralized and decentralized solution. And talk
6 about this a little bit more.

7 We talked about OpEx2020. We have here
8 a grand total of about six major categories of
9 initiatives. And these are all replacing existing
10 IT systems and other how-we-do-business systems at
11 SDG&E. You can see the time scale here, some of
12 them have already started. Going out to 2016 for
13 some of these initiatives.

14 But clearly in the 08 to end of '011,
15 '012 timeframe. But we've got asset management
16 initiatives, fuel-force initiatives, customer
17 care, -- infrastructure, IT infrastructure and
18 smart meters.

19 And we see that these are foundational
20 back-office systems that we're going to need to
21 move forward with, as far as implementing the
22 smart grid.

23 So, to summarize. The industry, we
24 believe, ultimately has a pretty good idea;
25 certainly within SDG&E we accept that the smart

1 grid vision that's sort of laid out by DOE, laid
2 out by the Gridwise architecture, laid out by the
3 (inaudible) is really sort of the vision that we
4 have been pursuing for many years.

5 We know what's there, there's various
6 that exist including said here, risk, rates,
7 patterns and security that have been talked about
8 previously.

9 Clearly there's steps underway already,
10 few large projects in various areas. However,
11 clearly there's also much more work needed. Needs
12 to be some additional demonstration projects.
13 Need to be a sort of state regulatory approval.
14 Buy-in vision of what this actually means for
15 California.

16 And that at SDG&E that we believe that
17 we have been making large strides for this, smart
18 meter implementation, our OpEx2020 implementation,
19 partnerships with industry groups, collaboration
20 with many utilities.

21 And that our involvement also includes
22 participation in standardization processes. These
23 ultimately become key, how you get to integrate
24 all these bits of equipment. As time goes on, how
25 are you going to replace a circuit breaker that

1 has a control with a new circuit breaker that has
2 a different control, if you don't have open
3 architecture.

4 So there's the open AMI activities
5 gridwise and DR open -- price. And also we're
6 involved with IBM and their utility intelligent
7 network, as far as moving some of this forward.

8 So, with that, that concludes.

9 PRESIDING MEMBER PFANNENSTIEL: Thank
10 you, Tom. I think we'll take the questions from
11 all the panel together, although it does occur to
12 me that perhaps the other utilities ceded a lot of
13 their time to SDG&E. I'm sure SDG&E is
14 appreciative of that.

15 But with that said, shall we move on?

16 MR. HUNGERFORD: I think so. I think
17 next in line, in no particular order, is Mike
18 Montoya with Southern California Edison.

19 MR. MONTOYA: Good afternoon. My name's
20 Mike Montoya from Southern California Edison. And
21 this afternoon I'm going to talk a little bit
22 about our smart grid strategy and some of the
23 technologies that we've actually deployed on the
24 Edison system that will help us move forward with
25 the smart grid.

1 At Edison, from the top we believe that
2 smart grid with a diverse supply of generation and
3 a more informed consumer is going to be very
4 critical in the future. And so we're working hard
5 to incorporate smart grid technologies as we
6 replace our aging infrastructure.

7 And so as we looked at that, we decided
8 we needed to have a good strategy to insure that
9 we were going to make prudent investments going
10 forward.

11 So we put together a strategy that looks
12 at the smart grid, and there's five major elements
13 in the strategy. There's a sixth one that I don't
14 have on this slide, but I'll talk a little bit
15 about it, also.

16 There's the customer solutions area
17 where you look at being able to have your customer
18 be more informed about their energy utilization.
19 There's the real time operations for the utility
20 that looks at taking AMI type data and utilizing
21 it for outage management. And also for
22 transformer load management and other operational
23 needs.

24 The other component is our DER and
25 renewable integration. Lots of work needs to be

1 done there. Interoperability comes into mind when
2 you talk about many small generators and
3 renewables out on the system, and being able to
4 understand what they're doing to your system, how
5 much resources are they, and being able to respond
6 to different types of grid operations.

7 The next big area is grid control, being
8 able to automatically reconfigure and monitor and
9 assess the changing conditions of the electric
10 grid, and actually down the road predict the
11 strength of the electric grid through technologies
12 like phaser measurement units.

13 And then asset and capital efficiencies.
14 When you look at technologies like phaser
15 measurement units, you can look at how well the
16 grid is operating, and you can push it harder once
17 you have that data in your control rooms. And
18 down the road automatically do it with automatic
19 controls.

20 And then the last one is workforce
21 effectiveness. We look at how our workforce in
22 the future is going to be utilizing technologies
23 to monitor and look at the grid, and make them
24 more effective as they go forward.

25 We have a lot of different objectives

1 that go along with those five different areas.
2 I'm only going to talk about three. We've kind of
3 categorized these as the most important for us to
4 look at first.

5 And the first is to enable DER
6 integration to improve our grid stability and for
7 customer end-use requirements and improve power
8 supply options for economic dispatch. And by that
9 I mean the initiatives that we're going to look at
10 is how can we utilize energy storage systems as a
11 DER. Distributed generation, we've looked at a
12 lot of microturbines and other distributed
13 generation technologies.

14 As I mentioned earlier, DER integration
15 and management systems are going to be crucial
16 going forward, because we have to know what those
17 generators are doing, and other storage devices
18 are doing out there, so that we can adequately
19 operate the grid.

20 And then really the DER strategy
21 development, you know, what and who should play in
22 that space. And what role does the utility have
23 in that space.

24 And then tracking these generators. If
25 you don't know where they are, you don't know how

1 you're going to be able to plan for them. And so
2 you really need to understand where they're being
3 installed and keeping track of, you know, how big
4 they are and where they're operating.

5 And then the other big issue, and I know
6 it's way down the road, but plug-in electric
7 vehicles. Those will produce another operating
8 issue for us. We won't know where they are or
9 we're going to have to know where they are if
10 we're going to be successful in integrating them
11 as a resource.

12 And then microgrids. Other people have
13 mentioned microgrids. We're looking at a
14 microgrid on Catalina Island, which is completely
15 separated from the Edison system. We serve them
16 with generators, diesel-fueled generators out on
17 the island. And we're looking at ways to go with
18 renewables and some storage devices out on the
19 island, and also microgrids to see if we can
20 improve reliability.

21 And then we have a lot of new loads that
22 are coming on the system. We're seeing
23 distribution harmonics. So, we're looking at the
24 cause and ways to try and dampen those down.

25 And then universal plug-and-play, DER

1 interfaces. We're looking at how can we utilize
2 DER to quickly move during emergencies and
3 overload conditions on the distribution system.
4 We've actually built two interface trailers where
5 we can move the -- and roll them in and connect
6 DER under emergency conditions.

7 The next strategic objective is really
8 based around phaser measurement systems. Phaser
9 measurement systems, I've heard people quote one
10 of the gentleman who was a pioneer who works in my
11 organization on phaser measurement systems, and he
12 says that phaser measurement systems are the MRI
13 of looking at the system where we used to look at
14 x-rays in the past.

15 So you're sampling at 30 samples per
16 second, so you have a lot of data. You really can
17 look at the system and the condition of the
18 system.

19 We have developed a software tool to
20 look at the phaser measurement data and do
21 postmortem analysis with our power system outlook
22 software. We also developed a software tool that
23 does real time analysis using phaser measurement
24 data. And that real time analysis is in our
25 control room at our grid control center.

1 We have a lot of training that needs to
2 be done with the operators, but there's a lot of
3 good data in there.

4 Voltage and VAR control. We are using
5 phaser measurement data to help control static bar
6 compensator on our 230 kV system. The PMU is
7 about 75 miles away from the SVC. And we've seen
8 tremendous improvement in voltage and VAR control
9 up there.

10 And then phaser of wind penetration, the
11 renewables integration using phaser data to look
12 at our models so that we can have better models to
13 integrate the wind and also to look at blackstart
14 capabilities.

15 Then other protection using PMU data.
16 We're looking at that type of application, also.
17 And then dynamic voltage control, and dynamic
18 nomograms, and by nomograms I mean the path
19 ratings and utilizing phaser technology to move
20 the nomograms dynamically.

21 And then we're also looking at a project
22 and we're working on a centralized remedial action
23 scheme that will use phaser measurement technology
24 to help supervise it. When you know the strength
25 of a system, and the system is strong enough to

1 withstand the condition that the CRAS would
2 operate, you can actually maybe prevent operation
3 of that based on better data.

4 And we're moving the visualization of
5 the PMU data onto our SCADA system that we're
6 installing now. And then some more predictive
7 grid control system work.

8 Now, the distribution system, we've been
9 doing distribution automation for many years. We
10 have about 1300 or 1400 of our 4200 distribution
11 circuits that actually have automation with SCADA
12 override. And we also are moving to a next
13 generation substation automation. We have over
14 500 of our substations that are automated. And
15 these are automated -- about half of those are
16 automated with microprocessor-based IEDs and
17 connected through a local area network. And we're
18 moving to IP-addressable technology there.

19 For security reasons for years our
20 energy management system and our distribution
21 control and management system have been separated.
22 The EMS handles circuit breakers on our system all
23 the way down to the 4 kV system, and all the way
24 up to the 500 kV.

25 So we've been a little reluctant to

1 bridge them. But we see for the smart grid in the
2 future we're going to have to do something in that
3 area. And so we're looking at ways to do that
4 safely.

5 We also have the distribution automation
6 is islanded from the substation automation. There
7 is some coordination from a timing perspective,
8 but for a smart grid perspective we're looking at
9 how do we really integrate those two systems
10 together. So we're working on a gateway to get
11 those two systems put together. And I'll talk a
12 little bit more about that as I go forward.

13 And then dynamic voltage control and
14 doing some cable monitoring or overheating
15 conditions.

16 In summary, on the transmission we're
17 doing SCADA phaser measurement, CRAS, flexible AC
18 transmission systems. We're looking at advanced
19 conductors. We're doing a lot of substation
20 automation and improving on that.

21 Distribution automation, and I'll talk a
22 little bit about the distribution circuit of the
23 future where we have a circuit that we're using as
24 a test for new technologies. And the circuit is a
25 live circuit; it's carrying over 1300 customers on

1 it. But we're trying out new technologies on it.

2 And then, of course, our AMI and demand
3 response and distributed resources on the
4 distribution.

5 Typical distribution circuits. You look
6 at the substation. They come out and they feed
7 and have paralleling points between other
8 circuits. What we're doing on the distribution
9 circuit of the future is we're doing some research
10 with DOE and CEC on fault, solid state fault
11 current limiters. Short-circuit duty on the
12 electric system is getting quite high, and we feel
13 a need to do more research in that area and get
14 control of that.

15 We're looking at vacuum instead of oil-
16 type equipment, and fault interrupters instead of
17 just pull switches for the automation. And with
18 the DOE we're doing an advanced protection scheme
19 where we've actually connected a centralized
20 controller and microprocessor relays on the
21 distribution ARs and fault indicator -- fault
22 interrupters, excuse me.

23 And it automatically reconfigures the
24 system and isolates the faults to very small
25 pieces of the system, so you know you can dispatch

1 your crews to the area where there's faults and
2 you can also know, you know, just how many
3 customers you have in the small section that is
4 off.

5 And then we're doing fiberoptic duct
6 temperature monitoring systems. Distributed
7 generation, we have an actual connection point on
8 the circuit of the future for DG. And multistate
9 capacitor transmission technology for distribution
10 use to help with power quality and other issues on
11 the distribution system.

12 And then secondary networks to look at
13 how do we maybe improve distribution reliability.
14 And that's the circuit of the future. A lot of
15 work will be going on on that circuit. We have a
16 lot of other things that we want to do there, and
17 we're going to continue to use that as our test.

18 Smart grid and smart connect, as our
19 enabling technology. Our customers, you know, are
20 going to have more choice, demand side management.
21 They can choose how much they really want to pay
22 and conserve power.

23 We have a new partner, our
24 transportation, and I think down the road they may
25 be a viable source of generation.

1 And then we have the advanced
2 generation, both the renewables, energy storage,
3 to help integrate the renewables. Nuclear. Clean
4 coal, carbon capture and storage and distributed
5 generation. And really the goal here is to lower
6 costs and higher reliability for our customers.

7 Smart connect, I know there's going to
8 be another meeting in a couple weeks on this, but
9 this is kind of our technology map. And just how
10 we're approaching this. We have integrated on/off
11 switch so that we can remotely turn on and off
12 service to customers. There's an interface to the
13 home area network; got energy and voltage
14 measurement.

15 Outage detection, which will help us
16 with our customers and our customer
17 communications. And be able to insure that we can
18 give them good and timely information. And tamper
19 detection, we won't have to go out and touch the
20 meters again if we have to change any firmware, so
21 it can all be done via the radio network.

22 This is very paramount to us, too, is
23 robust security. It's very important to us here,
24 as well as on the extra high voltage grid.

25 And then, you know, our network, telecom

1 network is designed for flexibility and very
2 secure; -- 900 megahertz RF lan. And Zigbee for
3 the home area network. And cellular-based -- for
4 flexibility, for technology changes.

5 And what a smarter grid means to
6 customers. Enhanced utility service, reliability.
7 A more stable, higher quality electric supply.
8 Shorter customer outages, faster service
9 restoration. What we keep calling as a self-
10 healing grid. And new customer programs and
11 service options. And increased customer control
12 of energy costs.

13 And then our vision for a clean energy
14 future. Integration of information technologies
15 and energy technologies with renewable, clean
16 generation, coupled with the smart grid, coupled
17 with our smart connect system. Connected home,
18 and other types of storage type resources will
19 lower our carbon fuel mix and help our energy
20 management and efficiency, which should reduce
21 costs and rate pressures, and meeting customer
22 expectations.

23 And with that, hopefully I made up a
24 little of the time.

25 PRESIDING MEMBER PFANNENSTIEL: Thank

1 you, Mr. Montoya. Now, PG&E.

2 MR. TANG: Good afternoon. I am Andrew
3 Tang, and I am the Senior Director of the Smart
4 Energy Web at PG&E.

5 We've heard today from the CEC, from
6 EDF, from the California ISO and from the DOE on
7 everyone struggling to give us what the definition
8 of the smart grid is. In putting this
9 presentation together to talk to you guys about
10 how do we define this, we took a slightly
11 different tack. So I'll circle back on, you know,
12 how we're looking at trying to define the smart
13 grid.

14 But first, I wanted to talk about the
15 path that we see from AMI to smart grid. I think
16 it's been made clear by a lot of people that
17 people do view that AMI is an enabling
18 communications layer or a building block upon
19 which we eventually get to the smart grid.

20 If you look at where we are today in the
21 -- and this is really across the nation's utility
22 space, what we really have to date is an energy
23 infrastructure with very limited coms. Some have
24 more coms than others, but in general, limited
25 communications, limited sensors, limited knowledge

1 of really what's going on, and relying on physics
2 where electrons go to the point of least
3 resistance. That's where we are today.

4 What AMI is serving to do, though, is
5 serving to put in this next layer which is the
6 communications infrastructure. So how do we
7 actually find out data along our aging grid. How
8 do we actually find that data and bring that data
9 back.

10 Well, once that data comes back it's
11 just bits and bytes of data; it's not very useful.
12 So the element, and we've heard this from other
13 people today, as well, but the element that you
14 need to layer on top of that is the computing
15 layer, the computational layer. You actually have
16 to do something with the data.

17 What is the VAR data that you're
18 collecting and you were talking about collecting
19 something at 30 samples a second. Well, once you
20 collect it you've got to interpret it, right.
21 What's it telling you to do.

22 And then we would posit that the smart
23 grid is really these sets of business applications
24 that once you've done the computing and you've
25 actually calculated something with the data, this

1 is what you do with it, right. These are the
2 applications that sit on top of that data. And
3 this is how you benefit from that data.

4 So, again, this is a little bit
5 repetitive. I'll go through this slide very
6 quickly. But, you know, today we have capacitor
7 banks, closers, switchers, transformers, meters.
8 The communications layer that people are talking
9 about, well, people are talking about -- power
10 line, fiber-based networks, this new wireless
11 technology called WiMax, the home area network,
12 cellular networks and RF mesh. And I think that
13 it's a pretty safe thing to say that the three
14 California IOUs have really centered around RF
15 Mesh as that great balance between what is the
16 right amount of data capacity balanced by what is
17 the right amount of costs to be passing on to our
18 customers.

19 This computational layer is something
20 that is, that, you know, we are in the midst of
21 implementing with our smart meter program
22 currently. We've got WebPresent is one of the key
23 elements.

24 And then as we look at the applications
25 we divide the applications really into three

1 categories. And these three categories pretty
2 much match the way we look at our business, right.
3 If you look at the way -- I mean most utilities,
4 if you look at the way they're divided they'll
5 have groups that are focused on generation and
6 supply; they'll have a group that's focused on the
7 actual grid or the transmission and distribution
8 portion. And then they'll have a group that's
9 focused on usage, demand and really the customer-
10 facing applications. So that's here on the right.

11 And so what we've done is kind of the
12 opposite. Instead of trying to define and say
13 what is the smart grid, we've kind of turned the
14 problem upside down and said, okay, what are
15 people calling the smart grid, right. And what
16 are those applications that we're going to have to
17 implement on top of our grid in order to deliver
18 these things that people are calling for.

19 And so if you look at it, and you look
20 at -- and I'll just highlight a couple of these --
21 but if you look at generation and supply. So, you
22 know, California is a leader in the solar space,
23 right, in home-based photovoltaic.

24 And, you know, one of the issues that we
25 all have to confront with right now is -- and we

1 all have solar net metering programs. Well, one
2 of the issues that we need to start confronting is
3 that right now we have net metering coming back,
4 and we have power coming back onto the grid. It's
5 small amounts of power, so it doesn't really
6 create huge imbalances on the grid. It doesn't
7 create problems for the ISO.

8 If we continue to believe, though, that
9 this is the future, and that this will actually
10 gain traction, and we continue to believe that
11 other forms, like solar, of these kind of
12 distributed microgenerators are coming onto our
13 system, well, we have an issue.

14 And the issue is that we now suddenly
15 need to track these 1 kilowatt, you know, 2
16 kilowatt, 3 kilowatt micro amounts of power that
17 are coming onto our grid, we're going to need to
18 be able to track that information and be able to
19 process that information and get that information
20 to the ISO so that we can really be looking at
21 grid balancing, right. So that is a key element
22 that we see on the generation and supply.

23 And then the other things like, you
24 know, distributed generation i talked about,
25 distributed storage. Well, if you think about the

1 plug-in hybrid electric vehicle, what is it. It's
2 a mobile distributed battery. It allows you to
3 Tivo power, right. Users can basically charge it
4 up overnight, and that power can be a usable,
5 dispatchable resource in the daytime.

6 Now, that is a 15-year-away vision. I
7 don't want to get anyone too excited about it, but
8 given the utility planning cycle, and given the
9 similarity that we have to other things like
10 solar, that is an issue that I think the industry
11 needs to confront now.

12 On the T&D section, you've heard a lot,
13 and Mr. Montoya over here talked a lot about what
14 SCE is doing with respect to grid automation. I
15 mean I would echo a lot of what he's talking about
16 with the circuit of the future, and the T&D
17 automation in particular, distribution automation.
18 You know, the need for us to move towards
19 deploying FLISR scans, which is, you know, fault
20 location isolation and service restoration.

21 The ability to take that information, to
22 view and predict where we have vulnerabilities in
23 our grid, to be able to send crews out in advance,
24 to be able to do that. To be able to manage
25 outage properly. To not leave a particular

1 neighborhood until we know, through our smart
2 meters, that every home in that neighborhood had
3 been restored.

4 So not only do we gain customer
5 satisfaction if we're able to achieve that, but we
6 actually lower operating costs, which is good for
7 everyone, because we lower the overall -- we lower
8 overall rates, right.

9 It's the operating efficiency of going
10 out to a neighborhood once; getting every person
11 in that neighborhood back online before leaving
12 that neighborhood.

13 The other point that I would bring out
14 on that, as well, without outage management, is,
15 you know, knowledge is just going to lead to
16 reductions in SADE, SAFE and CADE (phonetic).
17 It's just going to improve reliability. As long
18 as we can collect that information and act upon
19 that information.

20 The last area that I wanted to talk
21 about in this slide is really the usage demand or
22 the customer facing type applications. And this
23 would be things like, you know, progressive rate
24 schedules, like interval billing, time of use,
25 load control like demand response programs.

1 And really the challenge on demand
2 response programs, also, because we have, you
3 know, the California utility space has been very
4 good at pursuing demand response. The issue has
5 been cost effectiveness. And the cost
6 effectiveness factor has been driven by the fact
7 that the communications to talk to those special
8 meters that we now put in place at those
9 customers' locations are very expensive. And the
10 networks to get that data back are very expensive.

11 So if we are able to leverage, which we
12 should be able to, but if we're able to leverage
13 the smart meter investments that the three IOUs
14 are making, we have a communications
15 infrastructure that's being put in place. The
16 marginal cost to be able to support these programs
17 should be approaching zero.

18 And basically what that means is that
19 really opens up the opportunity for demand
20 response programs to go after much smaller loads.

21 The final area that I wanted to talk
22 about here would be really the energy management
23 systems. And, you know, really this is kind of
24 the Jetsons-esque, you know, view of the future of
25 inhome displays and computers actually dictating

1 what appliances should be on or off, and how do
2 you load shape the individual amount of power
3 consumption at a particular home is actually
4 using.

5 Now, the issue here is that, you know,
6 the technology actually exists today. So I would
7 posit that the stuff isn't really too pie-in-the-
8 sky. And it really isn't very Jetsons-esque,
9 okay. If you look at the developments that many
10 people here refer to that's happened in the
11 computer space, in the internet space, this stuff
12 exists. The fundamental ability to control a
13 washer and dryer, figure out when you should be
14 running that, or to set a timer so that you run
15 that at 2:00 a.m., as opposed to running that at
16 7:00 p.m., so that if the consumer closes the door
17 on the washer and turns it on at 7:00 p.m., it
18 doesn't go on until 2:00 a.m. All that technology
19 exists. This is not rocket science, right.

20 The issues are how do we bring this to
21 market, right. And one of the areas is, and a lot
22 of people have talked about standardization and
23 the importance of standards, and I would echo and
24 completely agree on the importance of standards.

25 On the home area network, which is the

1 inhome network that we plan on using on this, you
2 know, we plan on aligning with the other two
3 utilities on the 2.4 gigahertz Zigbee standard.
4 You know, there's an open -- there is a Zigbee
5 Alliance Committee which is working towards
6 standardizing that technology and making sure that
7 the interoperability happens. That's the key,
8 guys. It's the interoperability, right.

9 It's like, for instance, why do we take
10 for granted now that we have a computer that we
11 bring home into our home that hasn't been in our
12 home before, but if we plug an ethernet jack into
13 it, or if we turn on that wireless WiFi radio, it
14 should find our network. And it should work. And
15 it just does, right.

16 So I would argue another thing, too, is
17 that, you know, as we struggle and talk about the
18 need to define standards, let's also focus on the
19 fact that we don't need to reinvent the wheel here,
20 right. Let's take advantage of the billions of
21 dollars of investment that have happened over the
22 last 20 years on developing internet protocol
23 technology.

24 Now, internet protocol technology does
25 not mean that we need to have broadband to the

1 meter. Internet protocol -- IP-based open
2 standards technology can exist in a narrow band or
3 medium band communications layer.

4 The last element that I think is a
5 little bit of a stumbling block, though, in energy
6 management systems is really the business model.
7 We spend a lot of time talking to venture
8 capitalists and entrepreneurs in Silicon Valley
9 about these energy management systems and about
10 how do you bring them to market.

11 And really the issue is, you know, there
12 is a lot of excitement and a lot of opportunity
13 and a lot of view that there is a huge opportunity
14 here. But the issue that a lot of the
15 entrepreneurs and a lot of VCs are stuck with is
16 what is the business model.

17 Are they going to sell products and
18 devices to the utilities and the utilities
19 implement? That's a model. Or are they going to
20 somehow have to be in a position where they sell
21 the devices directly to consumers, and therefore
22 they collect money from consumers. It's a tougher
23 model.

24 But these are some of the issues that I
25 think we need to sort through. And I think the

1 way the demand response programs are structured,
2 right, where we have third-party aggregation, but
3 at the same time we also have utility-sponsored
4 programs. I think that can serve as a model for
5 where that space needs to go on the home area
6 network.

7 So getting back to the grid and what is
8 the smart grid. I mean, so this is our view or
9 representation of today's grid, with very limited
10 computing capability and very limited
11 communications capability.

12 So obviously there's communications
13 between the transmission operator or the ISO or
14 the RTO, the distribution operator and the load-
15 serving entity. And there's some communications
16 to some switches. There's communication through
17 SCADA to substations.

18 But generally what you'll note is that
19 all of this element of our grid we can't
20 communicate to, we don't communicate to.

21 So where do we need to get to? We need
22 to get to a place where -- and I'm just going to
23 try and bring these all on -- but where we have
24 robust, vibrant communications between all layers
25 of the network. We just start thinking of this as

1 a computer network and all elements.

2 And we need sensors along the way,
3 right. We need to be able to sense what's going
4 on in that network, we need to be able to redirect
5 power flows; we need to be able, in essence, to
6 turn the grid from a one-way device that takes
7 power from centralized generation down to an
8 individual home. We need to turn that into more
9 of a Mesh network, almost like the communications
10 networks they were talking about.

11 But we need to turn it into a two-way
12 robust Mesh network where things can flow bi-
13 directionally and be switched on and off.

14 And my, I guess, next-to-last slide is I
15 wanted to drill down a little bit more and talk
16 about the home area network. And really, that's
17 the opportunity of what we call distributed
18 computing.

19 Again, taking a page out of the book of
20 what happened in the computer industry, right.
21 And this is one of the key points why we don't see
22 the need to have a broadband network to that
23 meter, okay. But taking a key page out of the
24 page from the computer industry, if you think of
25 what happened in the 70s, and really in the 80s

1 and 90s, where the combination of Microsoft and
2 Intel created a very very powerful personal
3 computer, right.

4 And so you have all this processing
5 power that used to be in the mainframe centralized
6 in a computer -- centralized in a company
7 somewhere in some location. And people had to
8 schedule time of when they were going to talk to
9 that mainframe computer.

10 Well, the distributing computing era
11 basically moved that power to the very edge of the
12 network, to people's desktops and allowed them to
13 take advantage of that.

14 What we foresee for the smart grid and
15 for the smart meter upgrade project, as well, is
16 the exact same parallel movement, okay. The
17 meters are becoming smart. And you've heard it
18 from my colleagues here that we have unprecedented
19 levels of sensing capability within the meters.

20 We're looking at deploying meters that
21 have processing capability. We're looking at
22 meters that can actually house little programs.
23 And these little programs will tell the meter
24 what -- will actually interact and say, tell what
25 to do in the house if the utility sends a pricing

1 signal, for instance.

2 So, if we create programs that are
3 price-responsive, we send out a little pricing
4 signal saying hey, the price has hit X. And once
5 it hits X, there's a little, you know, the meter
6 that sits on the side of the customer's house,
7 goes ahead and executes a program.

8 So, that's our vision for the home area
9 network. I think you see elements of this through
10 demand response programs. They haven't been
11 centrally coordinated, and I think the smart meter
12 upgrade programs that the utilities are
13 undertaking right now are our opportunity to
14 coordinate this under kind of a centralized view.

15 And then the -- wanting to get us back
16 on schedule -- the last slide I have here is
17 really where we are today in deployment, and the
18 benefits that we think we can achieve. And really
19 where we want to get to. The near term is really
20 the next five to ten years. And in the future is
21 really kind of ten years and beyond.

22 But this is our view, kind of as we lay
23 it out on a roadmap and try to apply time on that
24 axis. This is kind of where we stand as far as
25 what we'd like to do and what we'd like to see

1 towards pursuing the smart grid.

2 Thanks for your time.

3 PRESIDING MEMBER PFANNENSTIEL: Thank
4 you. Questions, Commissioner Rosenfeld, of the
5 panel?

6 Commissioner Chong?

7 COMMISSIONER CHONG: Thank you. This
8 question was for Andrew. I was curious what led
9 the IOUs to decide on the Mesh, RF Mesh, as
10 opposed to other communications infrastructure on
11 your slide, I think it's 3, smart grid components?

12 MR. TANG: Yeah, absolutely. So, you
13 know, we have existing cellular networks in the --
14 cellular data networks that exist in the world
15 today.

16 As we had the discussions with those
17 people that own those networks, the Verizons, the
18 AT&Ts, and the Sprints of the world, we quickly
19 came to the conclusion that it was just too
20 expensive. Okay, it was on the order of -- we
21 would have to spend several dollars a month per
22 meter in order to be able to communicate with our
23 meters. So we found that solution to be cost
24 prohibitive.

25 The other issue on that space in

1 particular is that those companies have a very
2 very fast cycle time where they spit out
3 technologies. So what happens, we run a very
4 significant risk of stranded assets by partnering
5 with the cellular companies.

6 See, they're in a world where handsets
7 actually, individual people switch out handsets
8 every 18 months. So when they want to swap out a
9 network technology, what they do is they deploy
10 two parallel networks and they wait about two
11 years and they run two parallel networks for two
12 years.

13 At the end of two years they figure that
14 most of the people have swapped out devices. And
15 for those that haven't it's either such a small
16 percentage -- it's such a small percentage that
17 they decide to give them new, less-featured phones
18 on that new network, right.

19 We don't have that luxury, right. I
20 mean we have an issue here where we want to put a
21 meter in, and we want that meter to be good for
22 15-plus years.

23 So that really quickly led to the
24 cellular guys not being viewed in a very positive
25 light.

1 WiMax we think is a very very promising
2 technology, but the reality of the matter is it's
3 just not deployed yet. And to have our schedule
4 and our business cases be beholden to a third
5 party's deployment schedule we felt was untenable.

6 The fiber and NPL route, if I had
7 unlimited resources I would love to deploy fiber
8 along every single one of my main lines, and I'd
9 love to deploy fiber to every single home. I
10 don't have unlimited resources.

11 You know, I think it's somewhere between
12 a 5X to an order of magnitude difference in price
13 to be looking at a fiber or BPL network.

14 And so that really left us with the RF
15 Mesh networks.

16 COMMISSIONER CHONG: Well, will it
17 achieve everything that you want to achieve in
18 your future smart grid on page 5?

19 MR. TANG: We think, Commissioner Chong,
20 from the -- to the home standpoint, we think it
21 absolutely will achieve everything that we wanted
22 to achieve. And one of the key drivers behind
23 that is because of this constant thing, we're
24 moving towards distributed computing. That the
25 meter is actually a little computer at the home,

1 and the meter can have resident programs, right,
2 that can be run.

3 And to control that program in that
4 home, it's very very like, you know, it's very
5 very small packets of data that actually need to
6 communicate with the meter, to actually make the
7 meter do something, okay.

8 Now, there are elements. So, for
9 instance, when you hear about what Michael's doing
10 with the phaser thing, and that you're actually
11 scanning that 30 times per second, where you're
12 getting data inputs of the health of that circuit
13 30 times per second. The RF Mesh networks are not
14 capable of doing that.

15 However, you're doing that at more of a
16 distribution centralized level. So there's always
17 the opportunity for us to go back in and replace
18 our, what we call the WAN, the wide area network,
19 or our take-out points for our RF Mesh network, to
20 replace that with either fiber or broadband over
21 power line for that isolated application.

22 COMMISSIONER CHONG: Well, you were
23 using that very interesting computer analogy,
24 Andrew, and I guess what I'm worried about is as
25 time went on from the beginning computers, you

1 know that pc's now have much more powerful
2 computing capability, RAM, hard disks, et cetera,
3 et cetera, speed, as time goes on because
4 everything progressed. We didn't know 20 years
5 ago that you'd be downloading video on demand.

6 So I guess I'm really concerned that
7 we're truly thinking through what future
8 applications we might truly want when we look at
9 the ultimate future smart grid to make sure that
10 we're building in appropriate upgradeable
11 technologies, particularly in the meters. Because
12 if you're telling me you want that meter to have a
13 life of 15 years, then you'd darn well better be
14 figuring out what you might need in the meter for
15 15 years, and make sure that it has that
16 capability in it.

17 MR. TANG: So I think you'll never get
18 there on 15-year future proofing. And I think the
19 issue is that if that meter can also serve as a
20 gateway and a pass-through.

21 A lot of the companies that we've talked
22 to about energy management systems, they basically
23 say, you know what, you talk about inhome displays
24 and all these other things. And we've talked
25 about whether or not we need to create

1 refrigerator magnets or other, you know, forms of
2 actual physical inhome displays.

3 A lot of guys in the, you know, in the
4 Valley will say, guys, you have the ultimate
5 inhome display already. It's the pc. Right.
6 It's the computer, why not use it. You've got the
7 processing capability --

8 COMMISSIONER CHONG: Well, we have it in
9 some places, but not everybody has the ability to
10 afford internet connections. That's the problem,
11 Andrew, that's the other part of my job.

12 So, yes, in urban areas I'm pretty sure
13 that 96 percent of the people will probably be
14 able to get it. But in the rural areas right now
15 57 percent can't afford and don't have broadband.
16 In 4 percent of my state nobody even has access to
17 broadband.

18 So, yeah, ultimately we hope to get
19 there, but we're not there yet.

20 MR. TANG: But on the HAN?

21 COMMISSIONER CHONG: Home area network?

22 MR. TANG: The home area -- sorry, the
23 home area network --

24 COMMISSIONER CHONG: Yeah, if you guys
25 could really take it easy on the acronyms I'd

1 really appreciate that.

2 (Laughter.)

3 MR. TANG: On the home area network, so
4 you would use the pc potentially as your inhome
5 display. The pc does not need an internet
6 connection, right. What we're talking about, and
7 I know what Southern California Edison included in
8 their case, as well, are these little, you know,
9 these little devices, these little modems,
10 essentially, that would look like a USB stick that
11 would attach to your computer; that would then
12 give you the ability to communicate with your
13 meter.

14 We're trying to open up that
15 communication with that meter --

16 COMMISSIONER CHONG: Okay, but you still
17 have to have a computer, is that what you're
18 saying? Or you'd have an inhome device in which
19 the stick goes in?

20 MR. TANG: Well, I'm saying you could
21 either have a really low priced inhome device or
22 you could leverage the fact that a lot of people
23 do have pc's. And the pc can communicate with
24 that meter.

25 COMMISSIONER CHONG: Yeah, okay, I

1 follow you from a technology point of view. But,
2 you know, you have to understand that I'm also
3 concerned about our low-income consumers, so I
4 think I'm just having a little bit of an issue
5 here.

6 Okay, --

7 MR. MOHN: May I offer another
8 perspective?

9 COMMISSIONER CHONG: Yes, of course.

10 MR. MOHN: The issue that you bring up
11 and that Andrew has spoken to regarding the fact
12 that devices will be digitally enabled, you talked
13 about RAM and CPU requirements, central processing
14 unit requirements.

15 This is an issue that doesn't strictly
16 limit itself to the discussion of smart metering,
17 AMI or electronic meters or home area networks.
18 It's a fact that every device that we're going to
19 be purchasing in the future on the distribution
20 grid and the transmission grid will have some form
21 of computing technology built in.

22 What's occurring is we're going through
23 this major metamorphosis and the types of assets
24 that we're procuring are going to have this
25 capability of performing more duties. But because

1 they do have software in them, they're going to
2 want to evolve at a much quicker pace than they do
3 today.

4 This is a regulatory hurdle that we're
5 facing. Right now the assets that we procure
6 typically are depreciated at 20, 30, 40 years. We
7 know that the digital economy doesn't provide for
8 that type of framework anymore.

9 What we're asking for legislators to
10 think about is that a new form of depreciation is
11 going to have to be considered.

12 Two things result from this. Number one
13 is that we can incorporate lower costs computing
14 capabilities in our core assets, whether that be
15 the transmission distribution grid or smart home.

16 Also, though, if we are able to replace
17 that technology at a much faster pace, as
18 technologists build new capabilities into the
19 future generations, we can incorporate that at a
20 much faster pace.

21 So actually what happens is you start
22 out with, you know, a seven-year lifecycle on an
23 asset. In seven years you replace it with
24 something even more capable than it has today.

25 So you become much smarter at a much

1 faster pace because you're incorporating this new
2 technology at a faster pace.

3 COMMISSIONER CHONG: Okay, so you're
4 suggesting that there's a regulatory problem
5 having to do with the depreciation rates.

6 MR. MOHN: This is a consideration
7 that -- yes. This is a concern that the entire
8 United States is considering. And, as a matter of
9 fact, this is one of the areas in the federal
10 legislation that we're trying to get adopted right
11 now.

12 PRESIDING MEMBER PFANNENSTIEL: I have a
13 couple questions. The first one will follow on
14 Commissioner Chong's whole question of the
15 metering and whether the new meters going in now
16 were selected in each utility to be compatible
17 with a smart grid.

18 Then if they weren't selected that way,
19 are they, in fact, compatible. Or are they in a
20 very short, about the time they get put in, going
21 to be considered one of the legacy systems that
22 you just have to deal with because they're there,
23 or try to depreciate them more quickly.

24 How are you thinking about, for each
25 utility, your current AMI progress?

1 MR. TANG: On behalf of PG&E internet
2 protocol was really a key, IP, end-to-end, was
3 really a key determining factor in our smart meter
4 upgrade evaluation. So, --

5 PRESIDING MEMBER PFANNENSTIEL: So your
6 upgraded meters are compatible?

7 MR. TANG: Well, the meters that we want
8 to deploy with the case that we have before the
9 Commission --

10 PRESIDING MEMBER PFANNENSTIEL: I see,
11 right.

12 MR. TANG: -- are compatible.

13 PRESIDING MEMBER PFANNENSTIEL: Edison?

14 MR. MONTOYA: We designed our meter
15 infrastructure with the thought that we were going
16 to take advantage of it for the smart grid. So,
17 it's open architecture; it's open communications.
18 And we had that in mind to take advantage of the
19 communications.

20 PRESIDING MEMBER PFANNENSTIEL: And if
21 it, following up for both, you're also thinking of
22 a 15-year life for these meters. It's going to be
23 -- how are you going to think about its
24 compatibility by year ten, even, when things
25 change a lot? Are you looking for a faster

1 depreciation? Is that how you're going to deal
2 with that?

3 MR. TANG: I think that we are all
4 consistent on supporting federal legislation that
5 does look for a faster depreciation of meters.

6 But, you know, absent that movement, I
7 think also, you know, there is a belief that the
8 ability to download software onto these meters
9 without having to actually physically go out to
10 each individual meter premises, or each person's
11 home, is a really good hedge for us.

12 Because, as advancements come in
13 technology, a lot of those advancements are in
14 software. If we stick with open IP standards, the
15 IP, internet protocol standard has been a standard
16 for, you know, many many many years now, right.
17 And evolutions of that always have to be backwards
18 compatible. The standards body actually dictates
19 that.

20 MR. MONTOYA: And when you think about
21 the AMI program, you know, as my colleague here
22 says, it's very true. And when you look at
23 control systems for the grid, itself, many control
24 systems out there have the same protocols and
25 technology that they've used for years because of

1 the small amount of communications that's
2 necessary to operate a high voltage piece of
3 equipment.

4 You're, you know, commanding an open,
5 are you commanding a close, or are you taking a
6 reading. It's, you know, so you have to look at
7 it from both perspectives, the grid side and the
8 AMI side.

9 PRESIDING MEMBER PFANNENSTIEL: Tom,
10 Terry, anything additional?

11 MR. MOHN: When we talked to the vendors
12 supplying us our smart metering infrastructure, we
13 had some fundamental interoperability
14 requirements. And Andrew articulated it very well
15 in the fact that our lowest common denominator was
16 the fact that we want to standardize.

17 If you look at the stacks of technology,
18 the lowest level stack is how do the pieces of
19 hardware connect to one another. In the radio
20 system, how does one radio talk to another radio.
21 We call that the link layer for communication.

22 The next layer above that is the
23 transport layer, which is the internet protocol.
24 And above that we have various layers of
25 application space.

1 When we articulated our requirements to
2 our vendor community we said we want to
3 standardize on the transport layer. The economics
4 of the meters, the economics of the radio systems
5 are really based on the differentiators that the
6 vendor community has for providing that core
7 technology to us.

8 As long as they expose our minimum level
9 of requirement, which is the internet protocol,
10 they're free to choose any lower level technology
11 that they want.

12 So how do we prevent that from stranding
13 us into adopting their specific technology. The
14 way that we chose, and I think the other utilities
15 have chosen, we have a multi-tier environment.
16 One tier is the backhaul communication from the
17 Mesh takeout point to our back office, which we
18 call our head-in system. That WAN communication
19 system today could be metropolitan WiFi, it could
20 be WiMax; it could be broadband over powerline.

21 From an economic perspective, we will
22 look at every vendor's recommendation. And they
23 will choose the technology that best suits their
24 business model.

25 We'll compare that business model and

1 their proposal to us based on their economics and
2 their ability to serve our fundamental
3 requirements.

4 But when you get from that takeout
5 point, some vendors call those collectors, that
6 collector to all the various meters, that will be
7 a static technology for the length, the lifespan
8 of that electric meter.

9 So, how do we prevent vendor lock-in.
10 What we do is we look at the collector technology.
11 As long as it can communicate to those meters,
12 we're safe. So we can change out that collector
13 technology in three years, five years, 15 years.

14 So, as technologies advance, they become
15 more capable, the cost effectiveness of higher
16 through-put technologies come available, we can
17 replace the collectors, which are far less
18 expensive in quantity than replacing the electric
19 meters.

20 So what we do then is we require then
21 that the collectors always have the ability to
22 connect to the electric meter, but the collectors,
23 themselves, can be changed out. And so therefore
24 the backhaul communication to the head-in could be
25 changed out.

1 So we can take advantage of advances in
2 technology. We can actually place additional, you
3 know, multipliers of collectors in the same
4 service territory that originally started with
5 let's say one collector per 500 electric meters.
6 We can double that and say one collector for 250
7 electric meters.

8 So we can add more capability in the
9 choice of our design, the choice of our
10 architecture, as those technologies advance.

11 So, I think that we're pretty safe in
12 the way that we've designed our architecture.

13 MR. BIALAK: And I would just also add
14 that as far as looking at sort of the future smart
15 grid kind of technologies, those were functional
16 requirements that were put into our bids for our
17 metering and communication systems.

18 PRESIDING MEMBER PFANNENSTIEL: Thank
19 you. One other point that's a little more, I
20 think, conceptual. Richard Schomberg talked about
21 the smart grid as really the system requirements
22 for each party that thinks about it, what are your
23 system requirements. And Andrew referred to
24 PG&E's as sort of the business application, how do
25 you use this, which I think is pretty comparable

1 system as what Richard was talking about.

2 But then the question is if each of the
3 utilities, which is the investor-owned utilities,
4 each of the publicly owned utilities, has, in
5 essence, defined its own smart grid according to
6 its own requirements.

7 Are we assured that from an Independent
8 System Operator standpoint, for example, that this
9 is all compatible? The real question, I think,
10 that we, as public policymakers, need to deal with
11 is to make sure, you know, perhaps at Commissioner
12 Chong's level, to make sure that each utility was
13 using its resources efficiently. But I think at
14 the larger level, to make sure that these are all
15 compatible with the needs of the state and perhaps
16 starting with the Independent System Operator.

17 So, how do we assure that each of your
18 independent system requirements are -- they won't
19 be the same as, but are certainly consistent with
20 the requirements of the ISO?

21 MR. MONTOYA: I might take a shot at
22 that. The technology I highlighted on the
23 transmission system is the phaser measurement
24 units. And we're working very closely with the
25 ISO, and through the North American SynchroPhase

1 Initiative, as far as making sure that that
2 technology is capable of providing the ISO the
3 data that they need, and also all the needs that
4 we have in trying to create standards and things
5 like that.

6 So from a transmission perspective I
7 think the collaboration and that technology is --

8 PRESIDING MEMBER PFANNENSTIEL: So you
9 have built that into your system requirements?

10 MR. MONTOYA: For the phaser
11 measurements we're developing those standards as
12 we speak, yeah.

13 MR. TANG: And I would also add that,
14 you know, the activities that we're doing, that
15 all the utilities are doing with the MRTU, with
16 the market redesign, with the ISO, you know, that
17 is a big focus. Which is, you know, what type of
18 information does the ISO need. And kind of in
19 what sort of timeframes does it need that
20 information.

21 So I think that's how we're trying to
22 align on that level. Because the ISO's driving
23 us, as far as this is the way we need information.

24 PRESIDING MEMBER PFANNENSTIEL: Okay.

25 Thank you.

1 MR. BIALAK: And I would also add that I
2 think if you look at some of the activities that
3 have gone on today, the open HAN, open AMI, I
4 think there's a general realization amongst the
5 IOUs here that it doesn't do us any good to sit
6 there and specify one particular type of
7 technology for us, when the reality is we're
8 looking at doing this within our service
9 territory, but also doing it statewide.

10 And so getting everybody on the same
11 page, coming to some consensus as to what the
12 functionality of those particular systems should
13 be is a real important step to make sure that you
14 don't get into that particular problem that you
15 just suggested.

16 PRESIDING MEMBER PFANNENSTIEL: Thank
17 you. That's the assurance I needed.

18 Anything further? Yes, Commissioner
19 Chong.

20 COMMISSIONER CHONG: I guess to follow
21 up on that point, I assume that in this process
22 you're also keeping in mind the consumer
23 interface. If you have somebody who moves from
24 L.A. to San Francisco, you'll want to make sure
25 that the interface of their devices are hopefully

1 consistent, at least in a basic way. So that they
2 don't end up with devices that are not
3 interoperable when they change between utility
4 service areas?

5 MR. TANG: We've all standardized on the
6 Zigbee profile --

7 COMMISSIONER CHONG: Okay, so the Zigbee
8 takes --

9 MR. TANG: -- over the HAN.

10 COMMISSIONER CHONG: -- care of that
11 issue.

12 MR. TANG: Yes.

13 MR. MOHN: Well, let's -- the fact is
14 there's a broad list of vendors that are trying to
15 approach this consumer market. So, it's great,
16 and I agree that the three utilities here in
17 California have agreed on a communications
18 standard within the home. But that doesn't mean
19 that the consumer already owns that. The consumer
20 may have chosen a different internal communication
21 building automation standard.

22 So we worked very closely with companies
23 that recognize that there may be a gap that needs
24 to be bridged. And that just so happens to be the
25 name of the technology. There are bridging

1 technologies between what we are offering and what
2 consumers may choose to purchase on their own.

3 A good example of that is HomePlug. A
4 lot of consumers, they want to move information
5 around using their electric wires within their
6 house. So, HomePlug was their chosen building
7 automation technology. Companies are offering
8 bridges between Zigbee and HomePlug today.

9 So we think that consumers have already
10 been recognized in the way that we've chosen to
11 adopt a communication vehicle with them. And we
12 see that that particular area will continue to
13 thrive.

14 COMMISSIONER CHONG: Richard talked
15 about the need for a conductor in this smart grid
16 area. Does your company agree that someone should
17 be moving people towards a common definition or a
18 common set of milestones and standards? Or do you
19 not? Do you think it's happening by itself?

20 MR. MOHN: From my perspective, looking
21 at what's occurring particularly through operating
22 with the GridWise group, there's two GridWises,
23 the GridWise Alliance and GridWise Architect
24 Council, I think that the Department of Energy has
25 really been a good steward of driving the industry

1 in the same direction.

2 The GridWise Architect Council, last
3 year, published their framework for
4 interoperability. This was a seminal piece to
5 begin the discussion about how all participants
6 work within our future design and implementation
7 strategy.

8 It talks about people, processes and
9 technologies. It talks about how do we evolve as
10 an industry to achieve the same level of agreement
11 on every facet of interoperability, whether it be
12 at the distribution level or at the consumer
13 level.

14 So, from my perspective, and sharing the
15 belief of the Alliance, we believe that that
16 steward does exist, the conductor, if you will.
17 The DOE has done a remarkable job. If I may say,
18 five years ago they published their vision 2030.
19 We're five years into that. So far we're on
20 track.

21 So, through the visioning work that they
22 did and the realization that they didn't do this
23 on their own, they incorporated a wide array of
24 stakeholders to make this recommendation to the
25 industry. It looks like it's pretty much on track

1 to achieve the goals.

2 So, in terms of a conductor, I think
3 that we have one.

4 MR. TANG: Yeah, I would agree with
5 that, with what he's saying. I think
6 interoperability is going to be crucial, you know,
7 with all these different sources of energy and
8 different technologies. We're going to need to
9 have some standards and some ways of having, you
10 know, all the system being able to operate
11 together in a cohesive manner. So I would agree
12 with that.

13 MR. MONTOYA: And I would agree, as
14 well. Interoperability is the key, right.
15 Interoperability is absolutely key, and that's not
16 an easy process.

17 PRESIDING MEMBER PFANNENSTIEL: Right,
18 but I guess what Commissioner Chong was
19 specifically asking is has that been assured, and
20 what I'm hearing is that, yes, DOE has assured
21 that interoperability.

22 MR. TANG: Well, I would state from what
23 I heard this morning --

24 PRESIDING MEMBER PFANNENSTIEL: DOE
25 process.

1 MR. TANG: -- from the DOE person that
2 spoke to us on the phone, I think the
3 interoperability and standards was one key area
4 that they recognized and realized that they needed
5 to take a leadership position in.

6 And I just -- I'm saying I welcome that.

7 COMMISSIONER CHONG: Yeah, I do, too.

8 And I think that's the concern of the PUC and the
9 CEC, speaking generally here on behalf of all of
10 us, is that we want to make sure that these
11 systems are interoperable. And that I mean that
12 in the broadest sense of the term, you know. Not
13 only between you and the California ISO, but
14 between the POUs and the IOUs discussing it with
15 the ISO; also between you and your consumer, and
16 the consumers within the State of California.

17 Now, I want it to be as simple as
18 possible for a consumer, for example, to
19 understand what we're doing. And then, of course,
20 we all want to make sure that we do everything
21 possible to get the California ISO what they need.

22 You know, I see this grid becoming a
23 much more complicated grid in the future with all
24 these renewables coming online, people generating
25 their own electricity in their home, you know,

1 unbelievable complications.

2 And so part of what makes me feel better
3 about it is that I believe we are on the right
4 path to have much more sophisticated systems that
5 will be able to talk to each other and manage this
6 on a minute-by-minute kind of basis.

7 But I also want to be clear that in my
8 view, anyway, it's very important that we push
9 that intelligence as far out as we can, into every
10 part of the network. And I personally have a lot
11 of concern about what's going to go into the
12 meter. I also have concerns about what systems
13 you're using to make sure that we're always
14 upgrading, from a communication standpoint, when
15 you're talking about your collectors back to the
16 head-in, and what you're using for backhaul.

17 I also have a big concern about
18 security. You know, we are in an era of
19 terrorism. And so I want to make sure that
20 whatever you guys are doing is up to the highest
21 quality in terms of cyber-security.

22 So I have a lot of concerns about this.
23 And I don't want to just push it off and say, oh,
24 DOE's got a great policy and so therefore let's
25 just go with that process. You know, I want to

1 make sure from California's standpoint that we are
2 really looking at all this very hard, and that
3 we're doing all the things that need to be done to
4 make sure this is the very best kind of system
5 that we can devise, together, in the state.

6 Okay, I'll get off my soapbox.

7 MR. MOHN: I think that we all agree
8 with you, particularly that last statement
9 regarding security being a major issue.

10 Recognizing that the three California
11 IOUs were the founding members of open AMI, we
12 were the founding members of the open HAN group,
13 home area network. As a result of those
14 discussions in open HAN -- open AMI, I'm sorry, we
15 recognized that the whole issue around security
16 for the metering systems was not well defined.

17 And so we created a group specifically
18 focused on end-to-end security from the consumer's
19 device all the way back through whatever number of
20 gates, whatever number of tiers that exist, back
21 to the head-in, that that security was in place.

22 So, we are very concerned like you are.
23 And we're taking the measures, you know, uniformly
24 as a collection to insure that we are stipulating
25 to the vendor community what exactly we expect

1 from them. And so we're helping them define what
2 those requirements are.

3 COMMISSIONER CHONG: I promise this is
4 my last question, Commissioner.

5 PRESIDING MEMBER PFANNENSTIEL: Go for
6 it.

7 COMMISSIONER CHONG: My last question is
8 about the regulatory barriers. A number of you
9 referenced regulatory barriers. And one of them
10 just says complexity, that was SDG&E, which seemed
11 a little vague.

12 I also think that probably rate
13 structures is an important barrier at present.
14 We're working on that right now at the PUC. But I
15 was wondering what complexity meant. This was
16 page 5 of the SDG&E presentation on the regulatory
17 challenges.

18 MR. BIALAK: Basically the complexity
19 gets into we have all these issues; these are all
20 long-term issues. The question becomes if you
21 want a longer term sort of approach, longer term
22 vision, there has to also be sort of that
23 regulatory certainty, if you will, in insuring
24 that we have recovery, that we can build the rates
25 and structures in place, that we can move these

1 things forward.

2 And that that's the vision, that's the
3 longer term vision, and that everybody agrees and
4 buys into that vision. And it's not something
5 that changes out four or five years down the road.

6 So when something else, you know, a new
7 technology or new system comes in place, that the
8 vision still remains, the Commission's still
9 supportive, the regulatory body -- legislators
10 still supportive, and that we are heading down
11 that path.

12 And from that perspective it's
13 complicated because you're now sitting there, you
14 know, there's always various things going on
15 within the state. And so assuring that sort of
16 regulatory certainty occurs ultimately reduces the
17 complexity for us as far as how do we manage this.
18 How do we manage these types of things moving
19 forward.

20 COMMISSIONER CHONG: Do you believe that
21 there is support in the State Legislature for
22 smart grid initiatives? I am aware of a bill
23 pending right now.

24 MR. BIALAK: Yes, I am aware of a bill,
25 as well. I believe that there is. And it exists

1 today. And the real question is will it continue
2 to exist. That's really the genesis of my comment
3 with regards to regulatory complexity.

4 PRESIDING MEMBER PFANNENSTIEL:
5 Commissioner Rosenfeld, do you have a question?

6 ASSOCIATE MEMBER ROSENFELD: I have a
7 question which is trivial compared to these global
8 questions of security and so on.

9 But you made one phrase that I wanted to
10 ask you about. In your discussion of the home you
11 had a meter outside the home and you talked about
12 it being a smart meter controlling things within
13 the home, including -- well, I don't know if you
14 mentioned it, but including the temperature. So
15 you preprogram that.

16 We've actually talked about having that
17 as a separate piece of intelligence called the
18 communicating thermostat. Is there a conflict
19 there between those two?

20 MR. TANG: No. Something, so in order
21 to get to the programmable communicating
22 thermostat in the home --

23 ASSOCIATE MEMBER ROSENFELD: Yeah.

24 MR. TANG: -- the utility would need to
25 go from the meter and then from the meter into the

1 home.

2 ASSOCIATE MEMBER ROSENFELD: Yeah.

3 MR. TANG: So it's just a hopping point.

4 ASSOCIATE MEMBER ROSENFELD: Okay.

5 PRESIDING MEMBER PFANNENSTIEL: I have
6 really an observation rather than a question. And
7 it was triggered earlier in somebody's comment.

8 But, as I see the smart grid, one of the
9 capabilities is going to be this instantaneous
10 ability to detect distributed generation, for
11 example, or renewable energy. And I think that
12 that's playing into the concern that we're hearing
13 from the utilities now, and from the ISO, about,
14 in essence, large quantities or even too much
15 renewable. How can we integrate that much
16 renewable energy into the system.

17 And there's work ongoing, work going on
18 here, work going on at the ISO, I believe, at the
19 PUC to answer that question, how do you integrate.
20 It's going to be one of the questions we're going
21 to ask in the Integrated Energy Policy Report this
22 year, and probably next year, also.

23 But really trying to consider is there a
24 limit to how much renewables our system can
25 handle. And are we, you know, is it going to

1 cause enormous disruptions or enormous costs to
2 integrate large amounts of renewables.

3 And from what I heard actually this
4 morning and then earlier, it sounds like the smart
5 grid might be smart enough to help us through
6 this, if not resolve the problem entirely.

7 So, I offer that as an observation. If
8 anybody wants to respond, you might. Otherwise, I
9 think we're going to find that is something that
10 we will consider when we get to the discussion of
11 integrating renewables.

12 MR. BIALAK: I'll give you a little bit
13 of background. Today, depending upon how much
14 renewables or distributed generation is
15 interconnected to the distribution system or
16 transmission system, ultimately at a certain level
17 you will trigger capital upgrades necessary to
18 accommodate the actual amount of generation.

19 So, let's say if you reconductor, for
20 example, on a distribution line, if significant
21 amounts of distributed generation were to be
22 placed behind a small conductor, you may need to
23 reconductor that.

24 Conceptually, as you move forward with a
25 smart grid, you now have the ability, given the

1 data and given the information, to be able to sit
2 there and make some better decisions with regards
3 to well, what can I do. If I have the right
4 tariffs in place, maybe I'm able to sit there and
5 do some other things that today I would not do.

6 For example, have some generators
7 actually cut back on their generation and
8 compensate them for that, so that we don't have to
9 do an upgrade.

10 So, I think that those capabilities, as
11 we move further out with better information, will
12 come about. I think that then will help.

13 PRESIDING MEMBER PFANNENSTIEL: Thank
14 you. And I want to thank the panel. This was --
15 oh, I'm sorry, do you have something else, Mr.
16 Montoya?

17 MR. MONTOYA: Yeah, I just wanted to add
18 to that is that I think the challenge will be in
19 intermittent types of resources. The smart grid
20 will give you the intelligence that they are no
21 longer on or they are on, but we have to continue
22 looking at things like storage and things like
23 that, so that it can flatten out the intermittency
24 of --

25 PRESIDING MEMBER PFANNENSTIEL: Sure, --

1 MR. MONTOYA: -- generation.

2 PRESIDING MEMBER PFANNENSTIEL: -- they
3 will give you a lot more information quicker than
4 today.

5 Thank you all very much. I think that
6 we're way behind schedule and for which I take a
7 fair amount of credit.

8 So I think we'd better move to the next
9 panel.

10 MR. HUNGERFORD: Thank you,
11 Commissioner. I'd ask that the public utility
12 representatives who are here to give their talks
13 to please come up. We have Jim Parks from SMUD,
14 George Chen from LADWP and Craig Kuennen --
15 Kuennen from Glendale Water and Power.

16 And we're going to have Mr. Kuennen go
17 first. He has a plane reservation to catch -- a
18 plane to catch, and so we'll try to move that on
19 fairly quickly.

20 And thanks in advance for coming,
21 because I think you'll be rushing out before we
22 get to say anything else.

23 MR. KUENNEN: Well, I'll stay until
24 3:30. And I should be able to do a good quick
25 catch-up here because I only got about eight

1 slides.

2 As far as Glendale Water and Power we
3 serve the City of Glendale, California. We're
4 located between L.A., Burbank and Pasadena. We
5 have about 83,500 electric meters, 33,000 water
6 meters.

7 Basically our electric department has
8 been installing AMR meters; we've got about 6400
9 of those. And our water department, they're
10 looking to replace all their 33,000 meters in the
11 next five years. They're about 30 years old.

12 So when we're looking at AMI, we're
13 looking at both water and electric, and the need
14 to coordinate that activity. I saw there was
15 somebody's going to talk about that later on.
16 Found that paper and it was interesting.

17 Right now we're right at the very
18 beginning. We're just picking up the blocks right
19 now, we haven't even started. We contracted with
20 KEMA in February to do a business case. Assuming
21 the business case is positive, then we'll develop
22 an RFP to select a system and start installing it
23 within the next year. That's if the IOUs don't
24 buy up all the inventory for the smart meters.

25 (Laughter.)

1 MR. KUENNEN: Basically we're just going
2 to look at a technology plan for AMI; assess where
3 we are; develop a vision of where we want to go.
4 See what technologies we need to get us there.
5 And we should have that plan done by July.

6 For the business case, same thing.
7 We're going to assess the impact of AMI on our
8 operations; look at the costs and benefits;
9 develop some financial models. And conclude that
10 in July, as well.

11 Assuming that the business case is
12 positive then we'll develop an implementation
13 strategy. We'll look at the risks and identify
14 mitigating actions we'll need to take. And we'll
15 do some testing.

16 And then basically we need to do the
17 MDMS procurement before we even start installing
18 the AMI system.

19 And phase four would be actually to
20 select a vendor and evaluate their responses, and
21 begin installation.

22 Our concerns, they've been expressed
23 here already, is the communications between, you
24 know, within the home or between the meter and the
25 technologies that we want to put into the home;

1 and between the meter and back to the utility.

2 And our concern is we don't want to get
3 locked into proprietary system. Most of the
4 publicly owned utilities down in SCPPA have the
5 same concerns. They don't want to be locked into
6 a system that's not open-ended.

7 And we're worried that, you know, that
8 failure to adopt a standard or set a standard
9 quickly will delay us, you know, so that way our
10 demand response programs, our energy efficiency
11 programs -- we really see a great promise in the
12 AMI and the smart grid as far as saving energy and
13 peak shaving and load management.

14 So that's our presentation.

15 PRESIDING MEMBER PFANNENSTIEL: Thank
16 you very much. You're going to be around for a
17 few minutes?

18 MR. KUENNEN: Oh, yes, sure.

19 MR. HUNGERFORD: All right. George, do
20 you have a plane, you need to go first, since
21 Jim's in town?

22 MR. CHEN: Okay.

23 (Laughter.)

24 MR. HUNGERFORD: This is George Chen
25 from Los Angeles Department of Water and Power.

1 We appreciate your coming up today.

2 MR. CHEN: Thank you. Thank you,
3 Commissioners. Good afternoon. I'm the Rates
4 Manager for Los Angeles Department of Water and
5 Power. And I'm also the AMI Project Manager for
6 the last five, six years.

7 So actually the state help us study AMI
8 initiatives, -- one give us a pretty good size of
9 grant to get us started so we keep on doing that
10 AMI.

11 Okay. Here's our strategy. We studied
12 all different utilities in the state, outside the
13 state and in the country. So, we looking to the
14 (inaudible) that open, nonproprietary
15 communications with easy, interchangeable
16 components throughout the AMI system. That
17 applies to power, water and the gas meters. Also
18 the collectors and the backhaul communication
19 systems.

20 The second item we looking for that
21 plug-and-play, a new device. Want to be able to
22 register itself upon installation; immediately
23 begin to communicate with neighbor systems. So,
24 you know, the installation we want it to be easy
25 and not a lot of paperwork and get lost on the

1 system.

2 And also we like to see the minimized
3 impact of communication technologies change by
4 installing a scalable RF Mesh and IP backbone
5 network using public communication network system.
6 That similar to PG&E just talk about; I think the
7 same kind of approach. We want just one
8 collector, a number of devices so that we don't
9 have to do a lot of, you know, changes due to the
10 communications technology change in the future.

11 Also we like to implement a system that
12 provides access to home premises for high energy
13 residential consumers. We stress that high energy
14 residential consumers to monitor and control
15 (inaudible) with off-the-shelf network devices
16 such as thermostats, water heaters and the
17 lightings so that hopefully they can find those
18 devices off the shelf. Home Depot can sell these
19 and they can, you know, adopt it in their homes.

20 Also we like to design a flexible AMI
21 smart grid foundation for future technology
22 standards, system interface and the regulatory
23 requirements.

24 Okay, our goal is the (inaudible)
25 support; multiple co-functions. The ARM meter

1 reading, including distribution operations, system
2 reliability, energy efficiency and customer
3 service. And the current goal is to minimize
4 operation and maintenance costs, we'd like to
5 automate meter reading, improve customer service,
6 automate outage management. That's a big issue
7 for us. Lately we, you know, have a lot of outage
8 happening in our area due to the aging
9 infrastructure system there.

10 And also we like to use the system to
11 improve our rate design and the analysis
12 capabilities.

13 The metering plan we putting is a very
14 aggressive five-year plan. We just put it
15 together a couple weeks ago. You know, we have
16 not really goes to the Board, but we will put it
17 to the Board, and hopefully we can get it passed.

18 Implement a flexible AMI plan that can
19 work with any communication medium. We pretty
20 much by now we're looking at a two technologies.
21 One is the two-way wireless using public network
22 communication meters. And we tried to cover all
23 the large and medium commercial and industrial
24 customers.

25 And this meter equipped with TOU power

1 quality, outage notification and, you know, we
2 also can web present the data the next day. Those
3 are cover all the meters in over 30 kW for the
4 medium and large commercial customers.

5 The next we looking at residential
6 homes; about 64,000 homes that we like to have
7 some kind of home energy management system through
8 Zigbee protocol. Everybody talk about it. And
9 hopefully that will, you know, come through
10 because we heard the product come online probably
11 by the end of the year. So we tried, you know,
12 plan on that.

13 And those customers, we have about --
14 area have about 1.2 million residential customers.
15 And we target that 64,000 because their monthly
16 usage is over 1200 kWh. So we think there's some
17 room for them to do energy efficiency. And a lot
18 of them, over more than half of them their usage
19 basically is about 300 kWh. And we think that,
20 you know, the high technology may not be getting
21 the benefit at this moment. So we just target
22 small group.

23 And also we plan to install 10,000 the
24 disconnect, you know, turn-on/turn-off meters on
25 this high turnover places. So we already -- we

1 have the database to study where those customers
2 at, with dormitory and apartments that have high
3 turnover ratios. So we try to install these
4 10,000 meters there.

5 And also we identified that 2500 are
6 critical care residential customers. We like to
7 have outage notification system on them. And
8 that's important because if there's a outage we
9 like to notify paramedic, the fire department to
10 help these, you know, people there.

11 And for the rest of the customer we
12 looking at a walk-by, drive-by IF system. But
13 that system can later on upgrade to a fixed
14 network of RF Mesh network configurations. So we
15 look at about 180,000 small commercial and 1.1
16 million residential customers, and about water
17 meters close to 700,000.

18 This is my presentation. All these
19 other slides are benefits -- but I like to share
20 with you my -- what we like to see from the CEC,
21 the Commissioners here, that setting a policy
22 that, you know, AMI, we been doing these -- I been
23 working this area over 15 years; and working the
24 metering engineering and also the regs area.

25 So we see a lot of different versions.

1 But from our view that probably the best way to do
2 is that we can use public network, communication
3 network. And, you know, that can help a lot of
4 the issues, the proprietary issues, solve that
5 issue.

6 Because once you have the big networks
7 that decide, okay, if it's public, open and all
8 these devices can work with that, these, you know,
9 big communication providers. Then will, I think,
10 hopefully we can, you know, share those
11 technologies and make it standardized.

12 And think about these electrical
13 vehicles. If I have in area drive to San
14 Francisco and I try to charge over there, how do
15 we resolve these if we don't have a public system
16 somehow we can meter, count usage and do some kind
17 of connection there.

18 Just like Commissioner Chong just
19 mentioned. If I move to San Francisco I have to
20 return all my devices. So, if we can use some
21 kind of public communication network that's one
22 key.

23 And the second key we look at the cost.
24 ARA has a lot of targeted implementation. We look
25 at the data. Hopefully we don't use, you know, a

1 one-size-fits-all. We have everybody disconnect,
2 everybody has the power quality. We should target
3 it. Look at your data and target those areas so
4 that we reduce overall costs.

5 And I think that's about it in what we
6 asking for and hopefully gets your consideration.
7 Thank you for your time.

8 PRESIDING MEMBER PFANNENSTIEL: Thank
9 you.

10 MR. HUNGERFORD: All right, now we'll
11 move on to Sacramento Municipal Utility District.
12 Jim Parks is going to be giving their
13 presentation. Thanks, George.

14 MR. PARKS: Well, I can wade through
15 this pretty quickly because I think most of it has
16 already been said.

17 From our perspective we haven't really
18 defined the smart grid, but we kind of chose this
19 diagram as kind of our temporary definition, if
20 you will. And I think I saw something very
21 similar from PG&E.

22 The five elements that we're working on
23 right now are basically distribution system
24 smartening, advanced metering infrastructure,
25 demand response, distributed generation, which

1 also includes the plug-in hybrids and energy
2 storage, and then zero energy smart homes.

3 We're basically upgrading our
4 distribution system with SCADA. You know, we
5 built the system some 60 years ago. SCADA wasn't
6 really an option. For the past ten years we've
7 been installing it as just normal procedure. And
8 then we've upgraded the existing system so that at
9 least one-third of it is rewired to date. And we
10 expect to expand that to the full system.

11 We're automating some critical 69 kV
12 switches. And we're automating some of the
13 capacitor control. And all that needs to tie
14 together with our AMI system, which is soon to
15 come.

16 We have our own transmission control
17 areas, so we're not tied to the ISO. And we want
18 to get down to the circuit level at some point in
19 time so that we can have better control of outages
20 and things like that.

21 Our distribution system losses are about
22 9 percent. That's an area of concern. When I
23 look out to 2050 and see our greenhouse gas
24 requirements are supposed to be reduced by 80
25 percent, and we're losing 9 percent right here in

1 the distribution system, that's an area that we
2 need to look at. Can we get some efficiencies out
3 of that.

4 We've specified high efficiency
5 transformers. You can also monitor individual
6 circuits to see if they're out of bounds and you
7 can identify power theft.

8 We have a contract with the National
9 Renewable Energy Lab to look at the benefits of
10 wide-scale deployment of PV. So basically we have
11 subdivisions that are being built in our service
12 territory. And all the rooftops have photovoltaic
13 systems. Well, is there an opportunity for us to
14 downsize our distribution system as a result of
15 that, if we know that we're going to have whole
16 pockets that are going to have distributed
17 generation on a widescale format.

18 And we talked to our distribution
19 engineers. Their concern is what if we have
20 another ten-day heat storm and suddenly you need
21 the, you know, the more robust system. And those
22 are some of the things that we'll look at.

23 We just put our AMI RFP on the streets,
24 I think, last week. And so the responses are due
25 in June. We're looking at full-scale deployment

1 between 2009 and 2012. So we're going to be
2 selecting a vendor this year. We're going to be
3 installing, I guess what I'd call a pilot project.
4 And then we'll go full deployment after that.

5 We're developing a lot of load control
6 strategies. One of the changes that we're hoping
7 to do over time, we have an air conditioner load
8 management program that uses a radio signal. We'd
9 like to have the programmable communicating
10 thermostats in place such that we can just say, up
11 the temperature a few degrees on a hot summer day,
12 and have more control. And develop our programs.

13 Our actual goal is to have 400 megawatts
14 within ten years of controllable demand response.

15 And we're also in the process with the
16 AMI we'll do some TOU and critical peak pricing
17 rates down to the residential level.

18 On the distributed generation side we're
19 looking at several combined heating, cooling and
20 power projects. And we have three of them that we
21 are entering into a memorandum of understanding to
22 kind of move to the next step.

23 We've done feasibility studies. And so
24 I think that we'll actually have a few of those in
25 our service territory. We have potential of

1 something like 375 megawatts if we go all out on
2 this. And from my own perspective it's almost
3 moving too quickly because, you know, you kind of
4 want to do one project and see how it goes before
5 you do the second and the third. We've got
6 several of them in the hopper right now.

7 Plug-in hybrids. We've heard a lot of
8 talk about that. We're going to be looking at the
9 vehicle-to-grid, vehicle-to-home idea. And then
10 energy storage is another area that we're working
11 with.

12 And then, of course, we have 4000 homes
13 signed up on our solar smart program, which is
14 basically 2 kW PV. And with respect to our solar
15 smart homes, we started out looking at the zero
16 energy home program that was adopted by the DOE
17 and the National Action Plan for Energy
18 Efficiency.

19 The CPUC also has this goal of zero
20 energy homes by 2020. And we kind of did the
21 first stage of homes. It was basically a 60
22 percent efficient home. And that was so
23 successful that that is now what our program is.

24 So any home entering our new
25 construction program will be at that 60 percent

1 level. And we've got over one-third of the homes
2 that are going to be built over the next few years
3 will be those homes.

4 And I expect that that will go up,
5 because we're finding, even in this tight economy,
6 the homes that are selling most are those homes.

7 And then we're doing the next generation
8 home now, which is basically an 80 percent
9 reduction. And we've got a single home under
10 construction in Folsom right now. And then we
11 also have a project that we're working on with San
12 Diego Gas and Electric and the Energy Commission
13 PIER program.

14 So that's it in a nutshell.

15 PRESIDING MEMBER PFANNENSTIEL: Wow.
16 That's a lot going on to do it so fast. Thank
17 you, Jim.

18 Questions for this panel? Commissioner
19 Rosenfeld.

20 ASSOCIATE MEMBER ROSENFELD: I have a
21 trivial one, again, for George Chen. You talked,
22 I think, about the words, you want to plug it in,
23 the thermostat or the gateway, and have it
24 identify itself. And you sort of assumed no human
25 intervention.

1 But somebody has to connect the meter
2 information with the customer. That's certainly
3 going to require a call to a phone center or
4 something, isn't it?

5 MR. CHEN: Yeah. Right now with our new
6 generation meters that once you plug into the
7 socket, and the identification numbers will come
8 back to our server. And with all the information
9 that link to that ID will automatically register
10 to our CIS system.

11 I know we have that technology. So
12 hopefully we can, you know, use that.

13 ASSOCIATE MEMBER ROSENFELD: Okay.

14 PRESIDING MEMBER PFANNENSTIEL: Jim,
15 just let me make sure I caught it all because you
16 went pretty fast.

17 Your decision to put in AMI or where you
18 are now with going forward with that, is that
19 based on a business case that you did?

20 MR. PARKS: Yes, it is. And actually we
21 started out with widescale deployment of AMR,
22 which is really a drive-by system and only allowed
23 really one-way communication. And we stopped at
24 mid-deployment because we felt that the benefits
25 of AMI would far exceed what we could get from

1 just the AMR system.

2 And so we relooked at the business case
3 that we had done that originally headed us for
4 AMR. And decided we would just stop AMR. And now
5 we're going full deployment on the AMI.

6 PRESIDING MEMBER PFANNENSTIEL: And then
7 once you, or as part of that business case
8 analysis, are you going to the further business
9 applications such as we've been talking about as
10 defined as a smart grid?

11 MR. PARKS: Absolutely.

12 PRESIDING MEMBER PFANNENSTIEL: So you
13 will tie these all together?

14 MR. PARKS: Yes.

15 PRESIDING MEMBER PFANNENSTIEL: Thanks.
16 Other questions for this panel? Thank you all
17 very much, very helpful.

18 We have now come to the part where we're
19 seeking, soliciting public comment. We have a
20 couple blue cards from people who desire to speak.

21 MR. HUNGERFORD: And there are others
22 that were asking --

23 PRESIDING MEMBER PFANNENSTIEL: Right.
24 And we're open -- we have an open mike for anybody
25 who wants to speak for some period of time. But

1 let's start with the blue cards, start with Lon
2 House from ACWA.

3 MR. HUNGERFORD: Right. And we're
4 asking people to keep their comments to five
5 minutes if possible. And there are a couple of
6 people who have had -- giving us presentations,
7 and they're going to try to adhere to that.

8 PRESIDING MEMBER PFANNENSTIEL: Yeah, I
9 would ask that people with presentations, they do
10 tend to go long, so we'll try to hold them to the
11 five-minute ruling. Thank you.

12 DR. HOUSE: Good afternoon. I'm going
13 to give you something that I find kind of
14 interesting, but all of the activity and the work
15 that's being done on the electric side has
16 ramifications in the water side. And that's what
17 I'm going to talk about today.

18 There's a lot of the same operational
19 benefits with reduced metering costs, and reduced
20 field visits and billing and things like that.
21 And there's actually several -- you've heard
22 Glendale and L.A. talk about what they're doing
23 with some of their water systems. But there's
24 several other water agencies that are actually
25 installing, changing out all of their meters to

1 the new smart meters to achieve some of these
2 benefits.

3 But in addition, what the smart meters
4 will do, you know, within the water system is it
5 will allow you to track water consumption and flow
6 patterns. It will allow you to identify leaks and
7 the study that I'm going to talk about at the last
8 is an Energy Commission study that will allow you
9 to determine how to shift water consumption and
10 the corresponding electric consumption to
11 different parts of the day.

12 And this is one of the first things that
13 was the use of the water meters. Because remember
14 the water meters in the past have always been
15 volumetric. Sort of think of the old residential
16 electric meters. We would check and we would know
17 how much water somebody would use during a month.
18 We didn't know what time of the day; we didn't
19 know what happened to the different days.

20 And so this is just an example. You can
21 see here, and this is a toilet in a shopping
22 center, and you can see, it's very easy to spot
23 where a leak occurred. If you don't have that
24 time differentiated information you don't know.
25 All you know is that the water volume has gone up,

1 but you don't know why. So that's one of the
2 first things, one of the things that the water
3 community is really interested in doing.

4 The other thing that they're interested
5 in doing is, again, we know the water send-out on
6 a month, but we don't necessarily know, because we
7 don't have time-of-use water meters, what the
8 corresponding water send-out is based upon
9 temperature.

10 And you can see in this example, you can
11 see there's no leaks in this particular example.
12 But you can see that the water agency could have a
13 much better job of predicting how much water would
14 be sent out because they could correlate the water
15 consumption being sent out with the temperature,
16 which we don't have the ability to do until this.

17 And so some of the main reasons are it
18 allows us to detect size and locations of leaks in
19 water mains which we don't necessarily know now.

20 We can remotely identify the location of
21 main water main breaks. So you would know with a
22 smart meter system where the break occurred on
23 your system, instead of having to have somebody
24 calling up and say that their street is flooded.

25 And several of the municipalities --

1 ASSOCIATE MEMBER ROSENFELD: Lon?

2 DR. HOUSE: Yes.

3 ASSOCIATE MEMBER ROSENFELD: I didn't
4 understand. You're measuring individual meters,
5 so if there's a leak which isn't metered in the
6 main pipe somewhere, I haven't understood how
7 you --

8 DR. HOUSE: Well, this is -- that's a
9 good clarification. What the main focus of what
10 I'm talking about today is smart meters on
11 individual consumption units.

12 But what's happening is as these smart
13 meters are going in, SCADA systems that the water
14 agencies are looking out there and they're saying,
15 you know, there's a lot more that we can do
16 because we're developing this infrastructure to
17 bring this information back from the end user. We
18 can put it at different parts of our system, the
19 same kind of information. And be able to sense
20 different things. Be able to sense residual
21 disinfection; be able to sense water flows; be
22 able to sense things like this.

23 So this right here, this slide right
24 here is actually about a grid development on a
25 water system, not just the smart meters.

1 ASSOCIATE MEMBER ROSENFELD: Okay.

2 DR. HOUSE: And you can see reduced
3 theft detection and everything. Okay.

4 This last one, the first point up here
5 needs to be corrected, because this was funded by
6 DGS on Friday. But I had to have this in and I
7 didn't know that. So this study, the aqua smart
8 meter case study, is a study in which what we're
9 doing is we're putting in smart water meters in
10 the City of Palm Desert. It's funded by the
11 Energy Commission.

12 And you can see that the -- some of the
13 things that we're supposed to produce as part of
14 that. But, this was originally set up as just
15 sort of time-of-use water meters and looking at
16 how we could shift, if we could shift water use
17 out of the onpeak, how it would correspond to
18 reduction in electricity use by the water agency.

19 But things are happening so rapidly, as
20 part of what you've heard today, in the smart
21 meter and the smart grid, that the changes
22 happening, that we're looking a little bit more
23 carefully at the use and the implementation of
24 smart meters, and the use and development of a
25 smart grid in the system.

1 And I think I've done it in five
2 minutes.

3 PRESIDING MEMBER PFANNENSTIEL: Thank
4 you very much. Yes, Commissioner Rosenfeld has a
5 question.

6 ASSOCIATE MEMBER ROSENFELD: I'm a
7 little -- could you elaborate a little bit. Up to
8 now and listening to you I've thought of water
9 meter information as being mainly sort of
10 piggyback information. That is the home water
11 meter would relay information to PG&E or SMUD or
12 whatever.

13 But you're talking about direct.

14 DR. HOUSE: No. And actually that's one
15 of the issues is that with the electric side you
16 have power at your meter. The water meters are
17 out at the street.

18 So one of the issues has been in the
19 development of smart meters is we don't have power
20 at the meter sites. And so you saw some slides
21 previously where they -- and they're looking at
22 various things like batteries and solar and things
23 like that.

24 But the water systems are metered and
25 processed completely independently, have been

1 completely independently of the energy systems.

2 ASSOCIATE MEMBER ROSENFELD: So the
3 piggybacking was gas to electric, but not --

4 DR. HOUSE: Yes, not water.

5 ASSOCIATE MEMBER ROSENFELD: Thank you.

6 PRESIDING MEMBER PFANNENSTIEL: Thank
7 you, Lon.

8 Mark McGranaghan from EPRI.

9 MR. McGRANAGHAN: Thank you very much.

10 I'll try to be brief, also. I'm Mark McGranaghan
11 from the Electric Power Research Institute. Glad
12 to be back here.

13 My purpose is to say reinforce or
14 complement some of the information that we got
15 this morning from Mike Gravely and Richard
16 Schomberg, and also Eric Lightner.

17 I'm very excited to see consistency
18 between both the IOUs and the munis in the
19 approaches that are being taken. It's actually a
20 big change from say a year and a half ago when I
21 was here working on distribution automation and
22 talking to you. So, it's very exciting and I
23 think it's actually in a much better position
24 right now to position us for the future in the
25 direction that the utilities are taking.

1 We did a project with the Commission
2 that we're just finishing up, as Mike mentioned,
3 looking at really the technologies for the smart
4 grid and where we are and what needs to be done.
5 And that's my point and I'm going to kind of jump
6 quickly to the last point, which is our
7 recommended approach going forward.

8 This has been emphasized a couple of
9 times. You heard it from the utilities and
10 others, that the benefits from the smart grid are
11 the applications, the things that take advantage
12 of the communication and information
13 infrastructure.

14 We need a communication and information
15 infrastructure that will enable those
16 applications. But the applications are where the
17 advantages are. And those advantages are, as
18 we've heard, reliability and increased efficiency,
19 being able to implement demand response and demand
20 management and so on. And integration of
21 renewables and distributed resources.

22 And we think that the key is looking
23 ahead and really understanding those applications.
24 And what the requirements are for those
25 applications. This is not a controversial point

1 after listening today to everyone who has
2 presented, understanding those requirements is
3 key.

4 The questions from the Commissioners
5 were right on target, and it was very impressive,
6 the discussion that we had from the first panel
7 was very enlightening.

8 So, coming up with those requirements is
9 an ongoing process. The individual utilities in
10 California have done these use cases. You heard
11 about open AMI and open HAN, and have arrived at
12 the requirements for their own infrastructures,
13 especially advanced metering, but moving forward
14 from there to other aspects of the smart grid.

15 There is a need to collaborate.
16 California is out ahead. You guys are in front in
17 terms of the deployment of advanced metering. You
18 heard where the utilities already have a lot of
19 their distribution systems automated. That's a
20 good position to be in. It's a little bit of a
21 dangerous position, but it's an opportunity, as
22 well, especially if we take advantage of that and
23 share that knowledge so that the standards that
24 are developed are consistent with what we're
25 doing, with what we're learning and what we're

1 doing in California, so that we don't end up with
2 standards for the country and international
3 standards that are not consistent with these
4 deployments.

5 And we have a group in IEEE, which is
6 the Institute of Electronic and Electrical
7 Engineers, that writes standards and coordinates
8 standards, that is a real opportunity to share
9 some of the information that's being developed in
10 California and in other places regarding the smart
11 grid.

12 And I wanted to also mention that, you
13 know, as an example of what other utilities are
14 doing, First Energy is hosting a workshop in June
15 for information sharing of utilities that are
16 developing smart grid roadmaps and working on
17 these use cases; where we'll start to share some
18 of those. And then we're going to use that IEEE
19 organization as a repository for these
20 requirements across the whole industry.

21 So with that, we want to enable all of
22 these applications. I'm going to jump right to
23 the last slide. There's a lot of stakeholders
24 involved and the recommendation is that we use an
25 approach in California that kind of takes another

1 look at these use cases, these applications and
2 what the requirements are for these applications.

3 But involving as many of these
4 stakeholders as we can. We had some good
5 questions about have we considered the
6 requirements of the ISO in developing the use
7 cases and the requirements for our AMI, for our
8 distribution automation applications.

9 The information models for these
10 applications have to come all the way from the top
11 in terms of the information requirements. So we
12 need to make sure that we've done due diligence in
13 these application definitions. And I think it's
14 worthwhile.

15 And so the recommendation is that we
16 take a statewide look at these applications and
17 the requirements that are derived from these
18 applications, and make sure that the
19 infrastructures that we're putting in place will
20 support these future applications as we develop
21 the intelligent technologies to do it.

22 And I think that's a job that involves
23 some workshops with technical representatives from
24 these different stakeholders, and going through
25 the applications in more detail and making sure

1 that we've got the requirements hammered.

2 The utilities involved know what's
3 involved in this, but I think there's still an
4 opportunity to make sure that we have the whole
5 industry involved in the process.

6 So, that's the main message that I
7 wanted to present in my five minutes. Thank you.

8 PRESIDING MEMBER PFANNENSTIEL: Thank
9 you very much. Are there others here who'd like
10 to make some comments, provide some information or
11 insights to us?

12 Yes, please come forward. Come up to
13 the mike and give your name for the record.
14 Either one.

15 ASSOCIATE MEMBER ROSENFELD: Well, it's
16 better that you go to this one.

17 MR. GALICER: My name is Harold Galicer
18 and I'm with SeaKay. SeaKay is a community
19 networking organization. And we primarily work
20 with under-served and unserved low-income
21 communities.

22 And I just want to say that over the
23 last year or so we have been working and very
24 interested in smart grid, because we think it's
25 going to have a profound impact on the low-income

1 communities where we have presence.

2 Besides working with kids on how to get
3 onto MySpace, we're looking forward to working
4 with seniors and low-income families that are very
5 challenged to pay their electric bills.

6 And we think that the kind of
7 applications and developments that will come out
8 of smart grid will really help these communities
9 that we're looking at.

10 Our main concerns moving forward in this
11 is that the attention and the resources actually
12 are also dedicated to the home area networks. And
13 the enabling opportunity to let the ultimate
14 consumers and users take advantage of smart grid.

15 It's a concern, and I think one we heard
16 from DOE this morning, one of their main
17 priorities for smart grid was reaching out and
18 actively engaging consumers, and actually having
19 consumers then be able to interact with utilities.

20 And it's our wish or our encouragement,
21 both the utilities and both Commissions, that the
22 proper engagement and attention and pilots get
23 rolled out with the resources to give people the
24 ability to interact with the utilities and home
25 area networks.

1 And I can assure you, too, from the
2 community based organizations that we work with,
3 and the community technology centers that we
4 represent, that I think that you'll see a very
5 outpouring and a lot of good will and effort on
6 behalf of the community to work with the
7 Commissions and the utilities to make sure that
8 smart grid is successful.

9 PRESIDING MEMBER PFANNENSTIEL: Thank
10 you. We really appreciate those comments and your
11 being here. It's encouraging to think that what
12 we think is a really good thing, that you're
13 already looking at applications on the consumers'
14 side, because that, I think as Commissioner Chong
15 pointed out earlier, is ultimately what we have to
16 be concerned about.

17 So, in these communities, the low-income
18 communities, I think, especially, to know that
19 you're looking for how this can help your
20 constituents.

21 MR. GALICER: Well, I think one point
22 that can be made is that an analogy was used to
23 the Tivo of applications, that not everybody in
24 California has Tivo. And, again, as Commissioner
25 Chong says, not everybody has computers. We will

1 have to have access devices to reach out to these
2 folks.

3 And also in the technology that's
4 deployed and the architecture that's deployed, we
5 really have to take into consideration that not
6 every environment in California, as Commissioner
7 Chong says, is accessible or readily available to
8 deploy data collection unit to collect from the
9 smart meters.

10 And that in some of the under-served
11 areas in California and the unserved areas, that
12 we may need to push out the internet technologies
13 to the meters just to be able to enable smart
14 grid.

15 PRESIDING MEMBER PFANNENSTIEL: Right,
16 and you can help us, advise us on that.
17 Commissioner Rosenfeld.

18 ASSOCIATE MEMBER ROSENFELD: Another
19 point. No, stay there. I just want to say I
20 encourage what you're making us think. Several of
21 the utilities today have said they're going to do
22 pilots. And somehow or other you ought to make
23 sure they have your business cards and you'll help
24 them design those pilots.

25 MR. GALICER: Oh, absolutely. They

1 already do.

2 ASSOCIATE MEMBER ROSENFELD: All right.

3 PRESIDING MEMBER PFANNENSTIEL: Okay.

4 Others?

5 MR. HUNGERFORD: There is one other that
6 I know of. Erich Gunther has a presentation. And
7 I'm not sure which one it is here, Erich. Maybe
8 you can look at this screen rather than that one.

9 (Laughter.)

10 ASSOCIATE MEMBER ROSENFELD: I'm -- have
11 trouble seeing that damn screen.

12 (Pause.)

13 MR. GUNTHER: -- where Mike put it. You
14 can let someone else go ahead while I bring it to
15 you on a stick. Go ahead and have someone else go
16 ahead, and I'll bring it --

17 PRESIDING MEMBER PFANNENSTIEL: Is there
18 anyone on the phone who wants to speak? If not,
19 and nobody else in the room. So we'll just wait
20 for Erich.

21 MR. GUNTHER: I'll do it without any
22 slides.

23 (Laughter.)

24 COMMISSIONER CHONG: You can do it,
25 Erich.

1 MR. GUNTHER: I can do that. I don't
2 know where you put it, Mike, it was on --

3 (Pause.)

4 MR. GUNTHER: Erich Gunther with EnerNex
5 Corporation, in this case representing a few of
6 the hats I wear. Chairing several organizations
7 working in the smart grid area. I Chair the
8 utility AMI organization, open HAN. I'm with
9 Richard on the Gridwise Architecture Council.

10 Basically what I wanted to point out is
11 that there are a variety of organizations who are
12 working in this space. And California doesn't
13 have to do it alone. However, California has been
14 taking the lead in inspiring a number of entities
15 and organizations to implement smart grid.

16 Taking the first step with AMI, which
17 has been a leader towards putting infrastructure
18 in place to enable smart grid.

19 These various organizations have taken
20 the lead that the Energy Commission's PIER program
21 has done in the areas of systems architecture,
22 reference designs and the like. And has taken
23 that effort to heart and working to try and
24 standardize it as much as possible.

25 So, starting in California with the

1 reference design for demand response, the report
2 which was released a few years ago, some of the
3 work done on thermostat reference designs and
4 other activities, that California centric work has
5 now led to a much larger community of people
6 working to address these problems that will open
7 the market for vendors to provide product to a
8 much larger audience.

9 So I encourage California to continue
10 and the Energy Commission, in particular, to
11 continue with that activity.

12 The other thing to note is that even
13 though there are a multitude of organizations
14 working in this area, some people get concerned
15 that there's a multitude of organizations working
16 in this area. Which one should they support.

17 The core message that I would like to
18 deliver is don't worry about which one or ones.
19 There's, in this particular case, no one
20 organization is going to become a betamax or VHS.

21 There are too many -- this is too large
22 of a problem requiring a number of people to have
23 to look at it from a variety of different points
24 of view in order to, quote, solve it. Really it's
25 more like evolve it over time.

1 And so if EPRI intelligrid happens to be
2 working on areas of smart grid that cover things
3 that are important to you, go ahead and support
4 that. If the Modern Grid Initiative is
5 implementing some technology in an area that
6 you're interested in, you know, go ahead and
7 support that.

8 If open HAN is doing some work in an
9 area, defining standards for end -- inhome
10 devices, you know, support that. All of these
11 things are important and complementary.

12 And in the presentation that I can leave
13 with you, or include for the record, has a more
14 comprehensive list of those activities.

15 Thank you.

16 PRESIDING MEMBER PFANNENSTIEL: Thank
17 you, Erich.

18 ASSOCIATE MEMBER ROSENFELD: I just want
19 to compliment you publicly. Practically every
20 talk today mentioned either open HAN or open AMI,
21 all favorably, I think. And we're very much
22 indebted to your coordination. So, thank you.

23 MR. GUNTHER: Thank you.

24 PRESIDING MEMBER PFANNENSTIEL: Thank
25 you, Erich.

1 Are there no other comments in the room?
2 Concluding comment, Commissioners? Yes,
3 Commissioner Chong.

4 COMMISSIONER CHONG: Thank you. I want
5 to thank everybody for coming today and helping
6 enlighten me. I think I learned at least 20 new
7 acronyms today.

8 (Laughter.)

9 COMMISSIONER CHONG: Particularly from
10 Mr. Montoya.

11 In reference to the last speaker, Erich
12 I believe it was, I just wanted to say, you know,
13 it's part of my job to be concerned that we don't
14 have a betamax or a VHS on our hands. Because the
15 consumer groups are very united in letting me know
16 all the time that anything that the ratepayers are
17 going to fund better be a darn good choice by the
18 utility, because the ratepayer's paying for it.

19 So, I must beg to differ from Erich in
20 that one very small area, that it is important, in
21 my view, for the Commission and the Energy
22 Commission to insure that what is being put into
23 these utilities are something that is going to
24 serve the interests of all people of California.
25 And they should be the very best choice that we

1 can make as a state.

2 So, this is why I think today is a very
3 important step forward. It seems to me that
4 things are going relatively well, but I think we
5 could maybe do a few things to help accelerate it
6 in the right directions.

7 I commend all the players for apparently
8 working very well together in many different fora.
9 And I would like to encourage them to continue to
10 do that. And to be sure to keep all of us here in
11 the policymaker roles well informed of how it's
12 going, where it needs some help, and whether you
13 think we need to do more at the federal level.

14 I'm, of course, particularly interested
15 in the regulatory issues. So, if anyone would
16 like to have follow-up meetings with me with very
17 specific suggestions on regulatory barriers, I
18 would be very interested in taking those meetings.

19 Thank you very much for having me here,
20 again.

21 PRESIDING MEMBER PFANNENSTIEL: Thank
22 you for being here.

23 Commissioner Rosenfeld.

24 ASSOCIATE MEMBER ROSENFELD: No, I'm
25 just very happy with the day.

1 PRESIDING MEMBER PFANNENSTIEL: I also
2 want to thank all the participants. It was very
3 very enlightening. I learned a lot. Been trying
4 to keep up on what was happening in this area, and
5 I think that I didn't do a very good job, because
6 I learned so much more today than I knew was going
7 on.

8 I'm a little uncomfortable, I think,
9 with the total agreement I heard. It seemed like
10 everything is working, everything is on track, all
11 systems are compatible with each other, everybody
12 understands each other, everybody has the same
13 basic vision of where we're going and how we're
14 going to get there.

15 And somehow I have a feeling that maybe
16 as it plays out it might not be -- there may be
17 some bumps in the road. And I want to know if
18 there are. I'd like some way of coming back to us
19 and keeping us informed.

20 Because this whole question of smart
21 grid is a real mainstay of what we, at the Energy
22 Commission, are thinking about in terms of the
23 next decade or two of California's energy
24 situation. It's very important.

25 And it's important at the consumer

1 level, and it's also important at the system
2 level, as everybody here has been telling me all
3 day.

4 So we need to make sure that, you know,
5 if there are barriers that haven't been identified
6 yet, or haven't been publicly identified, that you
7 come forward and make sure that we know about
8 them. Whether it is serving low-income
9 communities, or certain metering constraints,
10 whatever they might be, I think we need to build
11 those into our plans.

12 Now, with that, let me say that we
13 welcome written comments from today. I did notice
14 that the notice gave two different dates for
15 submitting written comments. In one place it says
16 May 6th, and the other place it says May 10th.
17 So, given that, I'd say May 10th it will be. And
18 we look forward to your written comments.

19 So, with that, if there's nothing
20 further, we'll be adjourned. Thank you, all.

21 (Whereupon, at 3:52 p.m., the Committee
22 Workshop was adjourned.)

23 --o0o--

24

25

CERTIFICATE OF REPORTER

I, PETER PETTY, an Electronic Reporter, do hereby certify that I am a disinterested person herein; that I recorded the foregoing California Energy Commission Electricity Committee Workshop; that it was thereafter transcribed into typewriting.

I further certify that I am not of counsel or attorney for any of the parties to said workshop, nor in any way interested in outcome of said workshop.

IN WITNESS WHEREOF, I have hereunto set my hand this 10th day of May, 2008.