

<b>DOCKET</b>	
<b>09-AAER-1C</b>	
DATE	OCT 13 2009
RECD.	OCT 19 2009

BEFORE THE  
CALIFORNIA ENERGY COMMISSION

In the Matter of: )  
) Docket No. 09-AAER-1C  
Proposed Amendments To )  
Appliance Efficiency Regulations )  
California Code of Regulations, )  
Title 20 Sections 1601 through 1607)

Public Hearing

CALIFORNIA ENERGY COMMISSION  
HEARING ROOM A  
1516 NINTH STREET  
SACRAMENTO, CALIFORNIA

TUESDAY, OCTOBER 13, 2009

Reported by:  
Peter Petty  
Contract Number:

Commissioners (and their advisors) Present

Julia Levin  
 Susannah Churchill, her advisor  
 Karen Douglas, Chair  
 Jeffrey D. Byron  
 David Hungerford, Advisor to  
 Commissioner Arthur Rosenfeld

Staff Present:

Valerie Hall  
 Bill Stack  
 Harinder Singh  
 Ken Rider  
 Peter Strait

**Also Present ( Via WebEx)**Public

Noah Horowitz, Natural Resources Defense Council (NRDC)  
 Gary Fernstrom, Pacific Gas & Electric (PG&E)  
 Alex Chase, Energy Solutions for PG&E  
 Tim Michel, PG&E  
 Ed Hamzawi, Sacramento Municipal Utility District (SMUD)  
 Ken Lowe, Vizio  
 Ron Gorman, Sempra  
 Edwin Hornquist, Southern California Edison (SCE)  
 Jasmin Ansar, Union of Concerned Scientists (UCS)  
 David Barnes, BizWitz LLC  
 Jerry Koontz, Texas Advanced Optoelectronic Solutions (TAOS)  
 Pete Pappanastos, Imagine Designs, Inc.  
 Steve Stephansen, Agoura  
 Carl Cobb, McLaughlin Consulting Group (MCG)  
 Mark Sharp, Panasonic  
 Gerry Demple, CEDIA and Andrews Electronics  
 Douglas Johnson, Consumer Electronics Association (CEA)  
 Bill Belt, CEA  
 Paul Wazzan, LECG  
 Seth Greenstein, Constantine-Cannon for CEA  
 Bernadette Del Chiaro, Environment California  
 Lauren Navarro, Environmental Defense Fund (EDF)  
 Spencer Gusick, TiVo  
 \*David Lamb, 3M  
 \*David Kline, JVC  
 \*Paul Bendt, Ecos Consulting for PG&E

## I N D E X

	Page
Opening Remarks	
Julia Levin, Commission and Member of Efficiency Policy Committee	5
Karen Douglas, Chairman	9
Jeffrey D. Byron	10
Staff Overview and Presentation	
Valerie Hall, Director of Energy Efficiency and Renewable Energy Division	12
Harinder Singh	14
Ken Rider	18
Public Comments	
Noah Horowitz, Natural Resources Defense Council (NRDC)	44
Gary Fernstrom, Pacific Gas & Electric (PG&E)	50
Alex Chase, Energy Solutions for PG&E	52
Tim Michel, PG&E	57
Ed Hamzawi, Sacramento Municipal Utility District (SMUD)	60
Ken Lowe, Vizio	62
Ron Gorman, Sempra	64
Edwin Hornquist, Southern California Edison (SCE)	66
Jasmin Ansar, Union of Concerned Scientists (UCS)	67
David Barnes, BizWitz LLC	71
Jerry Koontz, Texas Advanced Optoelectronic Solutions (TAOS)	74
Pete Pappanastos, Imagine Designs, Inc.	76
Steve Stephansen, Agoura Technologies	79
Carl Cobb, McLaughlin Consulting Group (MCG)	82
Gerry Demple, CEDIA and Andrews Electronics	86
Douglas Johnson, Consumer Electronics Association (CEA)	89
Bill Belt, CEA	95
Paul Wazzan, LECG	101
Seth Greenstein, Constantine-Cannon for CEA	104
Mark Sharp, Panasonic	112
Bernadette Del Chiaro, Environment California	114
Lauren Navarro, Environmental Defense Fund (EDF)	115

## I N D E X (Continued)

	Page
Public Comments	
Spencer Gusick, TiVo	117
*David Lamb, 3M	122
*David Kline, JVC	123
*Paul Bendt, Ecos Consulting for PG&E	126
Closing Remarks of the Committee	127
Adjournment	130
Certificate of Reporter	131

1

## P R O C E E D I N G S

1  
2 OCTOBER 13, 2009

9:07 a.m.

3 COMMISSIONER LEVIN: Good morning, everyone, and  
4 welcome to the California Energy Commission to our hearing  
5 on Television Energy Efficiency Standards. This is CEC  
6 Docket 09-AAER-IC. This is the only issue that we will be  
7 addressing today. Again, I would like to welcome all of  
8 you. I am Commissioner Julia Levin on the Energy Efficiency  
9 Committee; to my right is Chairman of the Energy Commission,  
10 Chairman Karen Douglas; to my left is my Advisor, Susannah  
11 Churchill; to the Chairman's left is David Hungerford, who  
12 is Advisor to Commissioner Art Rosenfeld; and to his right  
13 is Commissioner Jeff Bryon. And I will have the staff  
14 introduce themselves in just a few moments.

15 So today, as I said, we are here to discuss  
16 Television Efficiency Standards. Staff is going to give a  
17 presentation about why we have adopted this, or why we are  
18 proposing this rule, how we have developed the rule, the  
19 evidence in the record so far, what the rule is actually  
20 composed of and not, what we expect it to accomplish and  
21 not, and where we go from here. So before I hand it over to  
22 staff to give their presentation, I would like to make just  
23 a few quick introductory remarks and then see whether the  
24 Chairman or Commissioner Byron would like to, as well.

25 Following staff's presentation, we will open it up

1 for public comment. Depending on the numbers of blue cards  
2 that we receive, and if you would like to make a comment,  
3 please do fill out a blue card and hand it to -- is our  
4 Public Advisor present -- hand it to the staff in the back,  
5 or if you leave it on the table at the entrance to the  
6 hearing room, we will pick those blue cards up, but you must  
7 fill out a blue card if you would like to make public  
8 comment. If you are participating by phone or on the  
9 Webinar, then we will also give you an opportunity to make  
10 public comment following the people that are present in the  
11 room who have braved the weather, which is quite quite a  
12 challenge out there, I have to say. I have driven out from  
13 the Bay Area and it was torrential rain, wind, debris in the  
14 road, hydroplaning, everything you could imagine. So I am  
15 looking forward to a nice, calm, sleepy, relaxing hearing.  
16 And I am sure this will be.

17           So before handing it over to staff, I just want to  
18 emphasize the importance of this rulemaking and energy  
19 efficiency, in general. The California Energy Commission  
20 was created in large part to ensure a reliable supply of  
21 electricity for all Californians. We were created and  
22 signed into law by then Governor Ronald Reagan. One of the  
23 most important means of ensuring a reliable, cost-effective,  
24 inexpensive, low-impact, and job producing supply of  
25 electricity, is energy efficiency. It is far and away the

1 fastest, cheapest, most jobs per dollar, cleanest, lowest  
2 impact, best all around source of electricity that we can  
3 provide to Californians to ensure that their supply of  
4 electricity is stable and reliable, and as low cost as  
5 possible. Because of this, the Energy Commission is  
6 authorized to adopt Energy Efficiency Standards for  
7 appliances when those appliances consume a significant  
8 amount of electricity. There is really no dispute about the  
9 fact that televisions do consume a large amount of  
10 electricity in California. They are up to 8 percent of  
11 residential electricity consumption, more than that if you  
12 include all the other devices that go along with  
13 televisions, VCRs and DVRs and all sorts of things like  
14 that, which, to be very clear, we are not proposing to  
15 regulate in this rulemaking. We are only proposing to  
16 regulate televisions. But, again, televisions alone consume  
17 8 percent of residential electricity use in California, so  
18 clearly, by law, significant consumer electricity, and  
19 therefore a good way to reduce unnecessary and costly  
20 electricity consumption.

21           We believe that the proposed rule will save  
22 consumers money, as all of our past Energy Efficiency  
23 Standards have. So far, to date, California's 23 Appliance  
24 Efficiency Standards have saved California consumers tens of  
25 billions of dollars. They prevented the need for costly and

1 polluting additional power plants, and they have helped to  
2 create a much more reliable electricity supply.

3 I do also want to address a concern that has been  
4 raised by some in the television industry, and that is that  
5 we are going to hurt the California economy and cost  
6 California jobs. This is an absolutely enormous and  
7 critical issue, particularly given the current economic  
8 crisis and unemployment in California, and we are very very  
9 concerned about these issues. We would not propose a  
10 television efficiency standard if we thought there was any  
11 actual evidence in the record to indicate that it would hurt  
12 the California economy, or cost jobs. We believe that the  
13 record points exactly in the opposite direction, that by  
14 improving the efficiency of televisions, we will actually  
15 save consumers money, help the California economy to grow,  
16 and to create new, clean, sustainable jobs. And this is a  
17 critical point for us and we believe that the record  
18 strongly supports this as one of the goals of establishing a  
19 new energy efficiency standard for televisions in  
20 California. And to underscore this point, I would like to  
21 quote our Governor, Arnold Schwarzenegger, who just last  
22 month said, and I quote, "Being a leader in clean energy  
23 standards has made California a leader in clean energy  
24 investment and green jobs. In the last three years, more  
25 than \$6 Billion...", and that is Billion with a "B", "...\$6

1 Billion in venture capital has been pumped into California's  
2 economy, making us the national leader in a number of clean  
3 businesses." So this is not the original purpose of our  
4 energy efficiency standards, but we think it is a very large  
5 additional benefit, particularly in this time when we need  
6 to create every new clean job we can. So with that, I am  
7 going to see if Chairman Douglas or Commissioner Byron would  
8 like to add comments before we hand it over to staff.  
9 Chairman?

10           CHAIRMAN DOUGLAS: Thank you, Commissioner Levin.  
11 I would just like to briefly join Commissioner Levin and my  
12 colleagues in welcoming everyone to the California Energy  
13 Commission today. As Commissioner Levin stated, energy  
14 efficiency standards are one of the most important  
15 responsibilities of the Energy Commission and, in part, in  
16 large part, through our standards, the energy use of per  
17 capita energy use of Californians has remained constant for  
18 the past 30 years, where it has gone up 40 percent on  
19 average in the rest of the country. So the contribution of  
20 our cost-effective and technologically feasible standards  
21 promulgated by this Energy Commission has been tremendous.  
22 These standards, which we are hearing public comment on  
23 today, would obviously continue on in that important record.  
24 We are, I am, very interested in public comment on the  
25 standards. I have paid very close attention to these

1 standards throughout their development, particularly in the  
2 last I would say six to eight months, if not more. I  
3 welcome hearing from the public and, again, welcome you all  
4 to the Energy Commission.

5 COMMISSIONER LEVIN: Commissioner Byron?

6 COMMISSIONER BYRON: Thank you, Commissioner  
7 Levin. I cannot believe you are all here on such a wet  
8 windy day, but it shows obviously there is a great deal of  
9 public interest in this subject. I would like to lend my  
10 support to the work that my fellow Commissioners are doing.  
11 I found this particular subject, you know, standards is one  
12 of the best things we do here. We have about a 30-year  
13 track record of taking on appliance and building standards.  
14 I am very interested in the input that you all have to offer  
15 today. I have to say, I am interested in more light than  
16 heat, however, so if you are really interested in a topic  
17 that covers a lot of issues, I encourage my fellow  
18 Commissioners to be at the IEPR Hearing tomorrow where we  
19 will be dealing with issues that affect the economy, the  
20 entire state, and the energy future. But nevertheless, I am  
21 sure you will have a bigger turnout here today. That IEPR  
22 Workshop is at 10:00 in case any of you want to be here  
23 tomorrow.

24 CHAIRMAN DOUGLAS: Commissioner, I will be here.

25 COMMISSIONER LEVIN: As will I.

1           COMMISSIONER BYRON: I am sorry that I can only  
2 stay for a short while this morning, but, again, I want to  
3 thank my fellow Commissioners for the work they are doing on  
4 these standards development, and I will look forward to this  
5 coming to the full Commission.

6           COMMISSIONER LEVIN: Thank you very much. Mr.  
7 Hungerford, do you want to say anything on behalf of  
8 Commissioner Rosenfeld at this time?

9           MR. HUNGERFORD: No, thank you. I think it has  
10 all been said.

11           COMMISSIONER LEVIN: All right, well, again, just  
12 to remind everyone, this is a formal hearing on the record.  
13 As part of our rulemaking, we have held public workshops,  
14 actually several over the past year, and now because the  
15 rulemaking is underway, we are within the 45-day comment  
16 period and this is a formal hearing. If you would like to  
17 make a public comment following the staff presentation,  
18 please do fill out one of these blue cards and either give  
19 them to the staff in the back of the room, or leave them on  
20 the table near the entrance, and we will collect them, and  
21 you will be given an opportunity to speak. So with that, I  
22 would like to introduce Ms. Valerie Hall, who is the  
23 Director of our Energy Efficiency and Renewable Energy  
24 Division, and she will then introduce the additional staff  
25 who have worked on this rule, the proposed rule, and we will

1 have our staff presentation. Valerie, please.

2 MS. HALL: Good morning, Commissioners. Good  
3 morning, everyone. Again, thank you all for coming here  
4 today. We are interested in hearing your comments. As the  
5 Commissioner has noted, we will begin with staff presenting  
6 information on the Proposed Regulations. Each of you who  
7 are interested in presenting comments, we welcome you to  
8 come forward. If you would please fill out your blue card,  
9 we will also ask that, if you have data that backs up any of  
10 the comments that you make, that you provide that in writing  
11 to the docket. So you will perhaps throughout the meeting  
12 hear us asking for you to please follow-up with information  
13 in writing to the docket.

14 For those of you who are listening in either on  
15 the phone or through the WebEx, please note that your  
16 comments are also welcome and that we will have time for you  
17 after comments from those who are here have been made. If  
18 you are on WebEx and using the Chat function, please  
19 recognize that is not a comment, and so if you wish to  
20 provide a comment, you will need to do so in writing to the  
21 docket.

22 I will also give a couple of housekeeping comments  
23 here. For those people who are unfamiliar with this  
24 building, there are restrooms outside of this hearing room,  
25 or across the atrium. There are restrooms directly across

1 and additional ones that are behind the guard station.  
2 There is a snack bar on the second floor, you are welcome to  
3 make use of that snack bar, we just ask that you not bring  
4 that food and drink back into the hearing room. If there is  
5 an emergency, and we certainly hope there is not, but in the  
6 event of an emergency, we will all go across the street to  
7 the soggy park, kitty corner from this building, please  
8 follow us to that location in the event of an emergency.  
9 For those who may need an assisted listening device, we have  
10 those available. They can be checked out in the security  
11 area here inside this room, just on the other side of the  
12 purple wall, you are welcome to check one out so that you  
13 can hear the information better. We also ask that you turn  
14 off all cell phones. They can be very disruptive during a  
15 hearing, and so we ask that you turn them off. If you do  
16 need to use your cell phone, please step outside into the  
17 atrium to use your phone.

18           And I would like to go ahead and introduce staff,  
19 who will be providing the presentation. I would also like  
20 to acknowledge Bill Stack, who is our counsel for this  
21 proceeding, who is sitting next to me, and behind me at the  
22 podium, you will be hearing from two of our technical staff  
23 on this project, Harinder Singh, who is an engineer on the  
24 project, and Ken Rider, who is also an engineer, who has  
25 been working on this project. And then we have other staff

1 that are here to help make the hearing go smoothly, and you  
2 will be seeing staff to assist you. So with that, I would  
3 like to go ahead and turn it over to Harinder and to Ken, to  
4 present the actual proposal.

5 MR. SINGH: Thank you, Valerie. Good morning,  
6 Chairman Douglas, Commissioner Levin and Byron, and  
7 Advisors, and everyone. My name is Harinder Singh. I am  
8 the Project Manager for the Television Rulemaking. First of  
9 all, I would like to explain the rules for making comments  
10 at the hearing. I know that you have heard it from Valerie  
11 and the Commissioners, but I would like to repeat and remind  
12 everybody of the rules. After the staff presentation, the  
13 Energy Commission's Committee will receive public comments.  
14 Anyone who wishes to make comments must fill out the blue  
15 card, which is available at the front table, and then fill  
16 it out and submit it to one of the staff members here to my  
17 right, and the commenters will be called as the cards are  
18 received in order, so if you submit first, that is how it is  
19 going to be. And the Commissioners are going to be deciding  
20 the allotted time, how much time is allotted to each  
21 speaker, and depending on how many speakers we have. So I  
22 would request you to please follow the rules on the time  
23 allotted and finish your comments within the allotted time.  
24 So I would request you to do that. And thank you for that.

25 First of all, the people in this room are going to

1 be given the opportunity to make their comments, and then  
2 we have overflow in Room B, if there are people in there,  
3 then we will request them and to call their names and ask  
4 them to come to this room and make their comments. And then  
5 we will go online on the telephones, and if there are people  
6 there who want to make comment, then we have a person on the  
7 telephone to receive that information. And also, then,  
8 later on, we will request that people on the Web who want to  
9 make their comments, we will receive their comments. And as  
10 Valerie mentioned earlier, if somebody is chatting and  
11 making comments, those comments are not going to be treated  
12 as comments. If somebody wishes to submit comments, they  
13 may submit those comments in writing to us. With that, I  
14 want to thank you again and I am going to move to my  
15 presentation part.

16 Today I, along with my colleague, Ken Rider, will  
17 present the rulemaking overview, some of the Proposed  
18 Standards, and an analysis of the Proposed Standards to show  
19 that the Proposed Regulations meet the California Public  
20 Resources Code Sections 25213, 25218E, 250402C1, and Section  
21 254025.4. The Proposed Regulations are technically  
22 feasible, cost-effective, and save energy. A significant  
23 amount of energy on a statewide basis would be saved and  
24 this would result also in the reduction of greenhouse gases.

25 Consumer electronics is the fastest growing and

1 innovative industry in the world, and televisions are no  
2 exception. Since the 1990s, digital televisions entered in  
3 the consumer market and revolutionized the television  
4 picture quality and performance. The residential  
5 consumption due to new television, digital televisions,  
6 rapidly increased from 3 to 4 percent in the 1990s to 8-10  
7 percent in 2008. And it is continuously growing. Without  
8 regulations, the residential energy consumption may grow up  
9 to 16-18 percent by 2023. This is due to the increase in  
10 the size of the televisions, increase in the viewing time,  
11 and also added features to the new televisions, and other  
12 things also, there are other factors that cause this  
13 increase in public consumption.

14           The Proposed Regulations, once they become  
15 effective, will stop the continuous growth in energy  
16 consumption and minimally reduce the residential energy  
17 consumption. The Proposed Regulations are technically  
18 feasible and may actually help stimulate the economy due to  
19 the consumer energy savings of \$1 million a year, and  
20 removing the need to build a \$650 million power plant. As  
21 new technologies are implemented by the manufacturers in the  
22 near future, stringent standards exceeding Energy Star 5 may  
23 be needed to reduce the current energy consumption and  
24 greenhouse gases.

25           Now I would like to present to you the television

1 rulemaking milestones and schedule. On September 18<sup>th</sup>, we  
2 submitted the documents to the Office of Administrative Law,  
3 we have a Notice of Proposed Action, Initial Statement of  
4 Reasons, Express Terms, and they are all available now at  
5 our Website along with a Staff Report, CEQA, the California  
6 Environmental Quality Act document, the Negative  
7 Declaration, and the Notice for the CEQA. They are all  
8 available. And there is a 45-day public comment period.  
9 This period will be ending on November 2<sup>nd</sup>, and all of the  
10 written comments shall be submitted by November 2<sup>nd</sup>. And the  
11 Commission will possibly adopt these regulations by November  
12 4<sup>th</sup> in the Business Meeting. If modifications are required,  
13 the modified text will be made available at least 15 days  
14 prior to that Notice of the Commission's adoption.

15           Now I will move to the CEQA Initial Study and  
16 Negative Declaration. The California Environmental Quality  
17 Act requires public agencies to identify and consider the  
18 potential environmental effects of their projects as that  
19 term is defined, and when feasible, to mitigate any adverse  
20 environmental consequences. The Commission has prepared  
21 this initial study to assess the potential significant  
22 effects of the Proposed Regulations on the environment,  
23 where the initial study demonstrates the Proposed  
24 Regulations for television efficiency will not have any  
25 significant adverse effect on the environment. And the

1 notice of Negative Declaration was posted on our website  
2 and submitted to the State Clearinghouse on the October 1<sup>st</sup>,  
3 2009, and the comment period for that is ending on November  
4 2<sup>nd</sup>, 2009. And we possibly -- Energy Commission may adopt  
5 this on November 4<sup>th</sup> in their Business Meeting. So with  
6 that, I would now request my colleague, Ken Rider, to come  
7 and make his presentation on the Proposed Regulations.  
8 Thank you.

9 MR. RIDER: Good morning. My name is Ken Rider  
10 and I am an electrical engineer with the Appliance  
11 Efficiency Program. And what we are going to do right now  
12 is talk about the Staff Report, what kind of information you  
13 could find in the Staff Report. There is a background  
14 section which talks about the history of televisions, there  
15 is a section on the test methods, a section on the submitted  
16 Statewide Energy Use, which according to the Staff Report  
17 and our analysis is that television is currently used  
18 statewide 8,772.3 gigawatt (GWh) hours per year. We have  
19 the Savings and Cost Analysis which we will be going over in  
20 this presentation. We have Economic Impact of Television  
21 Standards, which walks through some of the rationale of why  
22 we believe the impact will be positive in California. We  
23 discuss other economic analysis which includes analysis from  
24 the California Air Resources Board and the Consumer  
25 Electronic Association. We discuss technical feasibility,

1 which we will review in this presentation, as well. We  
2 specifically have a section on Power Factor to explain our  
3 rationale between why we implemented -- or are proposing to  
4 implement -- a Power Factor Standard. We talk about  
5 greenhouse gases, which is in the Policy Issues and Next  
6 Steps. We respond to some of the pre-rulemaking comments,  
7 which were made under Docket 07-AER-1C. And we also, at the  
8 very end, have a copy of the Express Terms or Post-  
9 Regulations. So there are two places that you can find the  
10 Proposed Regulations, one is at the end of the Staff Report,  
11 and the other, the official version, is the Proposed Express  
12 Terms.

13           Now I am going to give an overview of exactly what  
14 it is that we are proposing here today, and to discuss, and  
15 comment. I want to emphasize that this is not a substitute  
16 for the 45-day language. I am not copying and pasting the  
17 standards here, I am kind of giving you an overview of what  
18 we are proposing. The exact language is what is to be taken  
19 into account in your comments.

20           So I am going to begin by explaining some of the  
21 scope of what we are talking about here, and that is  
22 televisions of 1,400 square inches or less. And in kind of  
23 a layman's term, that roughly translates to televisions of  
24 less than 58 diagonal inches. There is a whole list of  
25 definitions in the 45-day language, but I want to emphasize

1 the definition of the television. The definition is "an  
2 analogue or digital device designed primarily for the  
3 display and reception of a terrestrial, satellite, cable,  
4 Internet protocol TV, or other broadcast, or recorded  
5 transmission of analogue or digital video and audio  
6 signals." This definition also includes combination TVs,  
7 which is a television that incorporates a VCR or a DVD  
8 player, or another device. It includes television monitors,  
9 which is a television which does not include a tuner. It  
10 includes component TVs, which is a television that consists  
11 of a panel and another device, but they are sold under one  
12 model number. And I would like to point out that these  
13 definitions are consistent with the definitions in the  
14 Energy Star specifications. And this definition also  
15 includes any unit that is marketed to the consumer as a TV.  
16 One important inclusion in this definition is that  
17 televisions do not include computer monitors. So in our  
18 proposal, we propose to adopt two test methods to test the  
19 energy consumption of TVs. The first test method I have  
20 listed here is the standby-mode, passive standby mode test  
21 method, we propose to adopt IEC 62301 2005 and, as the First  
22 Edition, it is titled "Household Electrical Appliances  
23 Measurement of Standby Power." For the on-mode test method,  
24 we propose to adopt IEC 62087 2008 Edition 2, "Methods of  
25 Measurement for the Power Consumption of Audio, Video, and

1 Related Equipment." And I will expand on that one because  
2 we have also included additional guidelines for the  
3 implementation of 62087. The test method requires the  
4 measurement of audio and video energy use, and I think it is  
5 really important to point out that it requires built-in  
6 additional functions such as DVD Players, Blue Ray DVD  
7 Players, IPTV, IPOD Docking Stations, etc., be turned off  
8 during the test. And I will quote the actual wording in the  
9 test method, "Additional functions shall be turned off  
10 during the measurement process." And that is in addition to  
11 the basic display. We also are requiring that the test  
12 method be done in the dynamic test method, which is a DVD  
13 test and not a static test method, which is just a steel  
14 image, or the Internet test method. We also are proposing  
15 to require the measurement of a Power Factor during the  
16 measurements of 62087. We also have added additional  
17 guidelines to define testing requirements for TVs which use  
18 forced menus, which is a menu that pops up when the  
19 television is first used, to usually select between retail  
20 and home loads. We also define reporting and test  
21 requirements for televisions which incorporate automatic  
22 writings control. We also propose to test the luminance of  
23 televisions. Our proposal incorporates the latest Energy  
24 Star test procedure for luminance and it tests the luminance  
25 of television in both its default or Home mode, and the

1 retail or bright based, also sometimes known as "Torch  
2 Mode." We also are proposing several television standards.  
3 The first one is -- and perhaps the most important is the  
4 active mode power requirements. The first, we set up a two-  
5 tier system, the first tier is proposed to begin, or be  
6 effective, January 1<sup>st</sup>, 2011, and that proposal would require  
7 televisions on-mode power consumption to be less than or  
8 equal to  $0.2 \times$  the screen area, which is the viewable screen  
9 area of the television + 32, and that is measured in watts  
10 or devaluated in watts. The second tier is proposed to be  
11 effective January 1<sup>st</sup>, 2013, and that would require  
12 televisions use less than or equal to  $0.12 \times$  the screen area  
13 + 25, and again, that is measured in watts. We also are  
14 proposing to require that televisions use at least -- or  
15 have a Power Factor of at least 0.9, and something that is  
16 not pointed out in this summary, but is important to note,  
17 is that is for televisions which consume 100 watts or more.

18 We also have several additional requirements that  
19 we are proposing in this rulemaking, the first one is stated  
20 in 1605.3, Section V3A, "A television shall automatically  
21 enter TV Standby Passive Mode, or Standby Active Mode, after  
22 a maximum of 15 minutes without video and/or audio input on  
23 the selected mode." And "selected mode" is defined in the  
24 definitions of the Proposed Regulations. This would cause  
25 the television to enter a standby mode in the absence of an

1 input. This occurs when peripherals are turned off, or  
2 enter standby modes. The next additional requirement is  
3 that a television shall enter TV standard passive mode when  
4 turned off by a remote or integrated button or switch. This  
5 would require televisions to go in a standby passive state  
6 when power buttons are pressed, so when the power button on  
7 a television or on a remote is pressed, the television would  
8 be required to go into standby or passive mode. One  
9 important thing to note is that this does not limit or  
10 regulate wake events, so wake events are events that would  
11 transfer it from standby passive mode state to another  
12 state, it could be standby active state, for example.

13           We also propose to adopt a luminance regulation.  
14 And this is located in Section 1605.3V3C. And it says, "The  
15 peak luminance of the product in Home mode, or in the  
16 default mode, shall not be less than 65 percent of the peak  
17 luminance of the retail mode, or the brightest selectable  
18 pre-set mode of the product." This helps prevent the  
19 manufacture of inappropriately dimmed televisions instead of  
20 more efficient televisions by limiting the difference  
21 between retail mode and Home mode, the luminance difference  
22 or ratio.

23           We are also proposing to adopt more stringent  
24 standby mode standards. Our current standards require that  
25 televisions meet a maximum TV standby passive mode, power

1 usage of 3 watts. We propose in our rulemaking to move  
2 that down to 1 watt, or require that TVs consume a maximum  
3 of 1 watt in standby passive mode.

4 In addition, this Proposed Regulation would  
5 require data reporting. And the data that would be required  
6 to be reported to the California Energy Commission is  
7 located in Sections 1606, Table X. The reported information  
8 will be used to determine compliance with the Proposed  
9 Standards and will be publicly listed. We have a publicly  
10 accessible database that anyone can access to see the  
11 reported information to the Commission.

12 Also in these standards, we propose to adopt  
13 labeling requirements. These are located in Section  
14 1607D11A, and would require that television label modes  
15 within built-in menus with their tested power consumption,  
16 so that is, we require that the retail mode and the Home or  
17 default mode be reported to the Commission, and we would  
18 require a digital label on the TVs for those modes to inform  
19 consumers of the power consumption associated with those  
20 modes.

21 We also are proposing to require a labeling for  
22 sales materials, and this would require that retailers and  
23 manufacturers -- and this, sorry, is in Section 1607D11B --  
24 and it would require retailers and manufacturers to list the  
25 power consumption and default or Home mode for their

1 televisions immediately following everywhere the physical  
2 dimensions of televisions appear. And this would include  
3 things such as websites, boxes, and retail displays.

4           These Proposed Regulations have been made after we  
5 have analyzed relevant information and Energy Star data, and  
6 followed the guidelines of the Public Resources Code and  
7 APA, which is the Administrative Procedures Act. We have  
8 used the same criteria and methodology as utilized for other  
9 appliances in previous rulemakings. Based on the analysis,  
10 staff found that televisions across various sizes and  
11 technologies meet the Proposed Regulations. Staff has also  
12 determined that the Proposed Regulations are technically  
13 feasible, cost-effective, and save energy, which are the  
14 requirements of the Public Resources Code.

15           So now we are going to switch gears a little bit  
16 out of the Proposed Regulations and talk about some of the  
17 reasons we believe that these Proposed Regulations are  
18 technically feasible. So I am going to begin by talking a  
19 little bit about the Energy Star data, and I am going to  
20 begin by explaining why this is important to technical  
21 feasibility.

22           Energy Star specifications provide evidence of  
23 technical feasibility by demonstrating current energy  
24 efficiency and driving future improvements in efficiency.  
25 So these are relevant to accomplishing our goals for the on-

1 mode power requirements. And I have summarized the most  
2 current version of Energy Star's Qualified Product List.  
3 Currently, there are within the Energy Star database 1,053  
4 televisions that meet our proposed Tier 1 on load levels.  
5 In addition, there are 297 televisions that currently meet  
6 California Energy Commission's proposed Energy Efficiency  
7 Regulations for Tier 2 levels. Amongst all these  
8 televisions, there are 32 brands with screen sizes of 10  
9 inches up to 58 inches, which meet the Proposed Standards.  
10 So a lot of different manufacturers, and the full scale of  
11 sizes, television sizes.

12 I am going to expand a little bit on the Energy  
13 Star Program. Recently, they adopted new specifications 4.0  
14 and 5.0, "The California proposed hereto in the Energy Star  
15 4.0 television specifications are identical down to 275  
16 square inches," at which point the Energy Star specification  
17 is more stringent, and you can see that in the band down  
18 here, so Energy Star is a little bit more stringent down  
19 there. This specification goes into effect 30 months in  
20 advance of Tier 2, so that would give manufacturers  
21 incentive through Energy Star labels to meet the  
22 specifications for over 30 months before our proposed Tier 2  
23 would become effective. In addition, Energy Star has  
24 created an advanced specification, 5.0, which is much more  
25 stringent than our proposed Tier 2 levels. The Energy Star

1 Version 5.0 specification will be effective 7 months prior  
2 to Tier 2, and that is the purple line located down here,  
3 and you can see it is much below our proposed Tier 2.

4 Here is a graph of all of the televisions in the  
5 Energy Star database, October 2<sup>nd</sup> Energy Star database, so  
6 they are limited to the Energy Star data, but you can see  
7 here that here are the 297 televisions that already meet  
8 Tier 2, and more importantly, there are a lot of televisions  
9 that are close, or relatively close to meeting the  
10 standards, and you can see here in this analysis, you know,  
11 318 televisions are within 25 percent of meeting Tier 2  
12 today.

13 So I am going to go through some examples of Tier  
14 2 compliant televisions and manufacturers from the Energy  
15 Star data. To begin, and just to note, I want to be upfront  
16 about this, these scales are not the same, so as I scroll  
17 through a few manufacturers, I do not want you to assume  
18 that the scales are the same. So right now, you see this as  
19 50 percent is the maximum, and I think it will change over  
20 the next slide, and I will point that out again. But what  
21 this really demonstrates, and I think it is important, is  
22 that here we have a manufacturer, Samsung, it has 42  
23 televisions which currently meet Tier 2, and it is across an  
24 entire spectrum of screen sizes, up to 56 inches, which is  
25 really up to the screen size that we are proposing in the

1 scope. In other words, we do not regulate 58 inches and  
2 above. Here is another example of Sharp televisions, and  
3 you can see now the maximum of scale is 40 percent. I just  
4 do not want to be misleading. Thirteen televisions from  
5 Sharp already meet the Proposed Standards and, again, that  
6 is across the range of screen sizes. JVC, 20 televisions,  
7 again, across the board from 19 inches to 52 inches. LG, 25  
8 televisions that meet the Tier 2 standards, ranging from 19  
9 inches to 55 inches. Sony, eight televisions ranging from  
10 11 inches to 52 inches. Toshiba, 42 televisions that  
11 currently meet Tier 2, ranging from 15 inches to 55 inches.  
12 So I think it is really important to see that this points  
13 out feasibility as televisions of all sizes and all sorts of  
14 manufacturers currently have televisions on the market that  
15 meet our proposed Tier 2, more stringent, on-mode power  
16 standards. And with that, I am going to hand it back over  
17 to Harinder Singh, who will talk about television  
18 innovations.

19 MR. HUNGERFORD: Mr. Rider, can I ask a question?  
20 I would like to roll back to the slide on page 21. I had  
21 trouble in your presentation, it is sort of hard to read the  
22 detail, but I just wanted to clarify -- make sure something  
23 was understood. The bottom scale is the screen area, so the  
24 size of the television, right?

25 MR. RIDER: Right, my mistake. Let me go over

1 this real quickly.

2 MR. HUNGERFORD: Yeah, and the left-hand scale is  
3 the power consumption --

4 MR. RIDER: Correct.

5 MR. HUNGERFORD: -- so those angled lines mean  
6 that, as TVs get larger, they are allowed to consume more  
7 energy, and it is a relatively flat line for our standards.

8 MR. RIDER: Correct.

9 MR. HUNGERFORD: So as I read that, that means  
10 there is no distinction between larger and smaller TVs in  
11 these standards, that all TVs are regulated, but that all  
12 TVs -- it recognizes that screen size is a determinant of  
13 energy consumption.

14 MR. RIDER: That is correct. It allows additional  
15 power consumption for larger TVs, noting that they would  
16 require more.

17 MR. HUNGERFORD: So the assertion that these  
18 standards are designed to remove large TVs from the market  
19 is factually incorrect?

20 MR. RIDER: That is right. This line is clearly  
21 not biasing towards any screen size, it is on a line which  
22 does not bend or change for big screens, or smaller screens,  
23 or anything, which is significantly different than the  
24 Energy Star which does bend down for small screens, for more  
25 stringent, and also just makes a flat line for certain

1 screen sizes -- which does not -- which would be different  
2 from our proposal. We do not differentiate -- we are not  
3 discriminating against certain screen sizes.

4 MR. HUNGERFORD: And this slide also illustrates  
5 the idea that the Energy Star specification, which is a  
6 reward or a designation for the best or most efficient  
7 televisions that are available on the market is  
8 significantly separated from a minimum energy efficiency  
9 standard, which is what we are proposing.

10 MR. RIDER: Correct.

11 MR. HUNGERFORD: Thank you, Mr. Rider.

12 MR. RIDER: And, again, I am going to hand it over  
13 to -- unless there are any other comments -- to Mr. Singh.

14 MR. SINGH: Thank you, Ken. Hello again. As I  
15 have mentioned earlier, the reduction in television energy  
16 consumption can only be accomplished by innovative  
17 technologies. To continue the innovation so that there will  
18 be energy efficient televisions, we propose regulations  
19 provide a balanced approach or platform for innovations.  
20 The best method in the Proposed Regulations require that all  
21 built-in additional functions such as DVD players, Blue Ray  
22 DVD players, IPTV's, IPOD docking stations, etc., be turned  
23 off during the test. Power signals from these devices will  
24 not be measured as energy consumption during the testing of  
25 the television.

1           The first slide shows that -- this one -- shows  
2 that the onboard power for a television with IPOD docking  
3 station is roughly equivalent to the television without the  
4 docking stations. You can see the red bar and the blue bar  
5 there, both of these televisions consume the same amount of  
6 energy, which is 111.1 watt. The second slide shows that  
7 Sharp's AQUOS televisions, they have incorporated a feature,  
8 fully featured Internet capabilities, and an Internet-based  
9 television service that gives Sharp AQUOS customers access  
10 to personalized information. These televisions far exceed  
11 the Tier 2 regulations, Proposed Regulations. The third,  
12 this particular slide represents the LED backlighting  
13 technologies, and these televisions are 40 percent more  
14 energy efficient than last year's models. Samsung, Sony,  
15 Toshiba, and other manufacturers have introduced these LED  
16 backlight televisions, replacing the more power CFL  
17 backlight televisions used in the previous years. A 46 inch  
18 LED TV measured power usages between 72 watts to 116 watts,  
19 depending on the energy level. Again, these televisions  
20 exceed the proposed Tier 2 energy standards.

21           Also, the technologies available are -- another  
22 one is the color sequential technology, which improves the  
23 efficiency up to 40 percent. These have started coming to  
24 the market and they will significantly reduce the cost and  
25 improve the efficiency. Again, the innovations are heading

1 towards the energy efficiency of the televisions, and my  
2 next slide is another example is the optical compensated  
3 bend technology, which lowers the power consumption. One of  
4 the television advantages for the plasma was the wide  
5 viewing angle, whereas this implementing OCD into the  
6 televisions, the viewing angle for the LCD is really  
7 improved and it is 170 degrees left and right. And, also,  
8 this provides a high response and high resolution pictures,  
9 so these are the technologies which are not costing much in  
10 terms of the cost to the consumer, and also are improving  
11 the quality of the televisions and energy efficiency.

12           The next iteration in the plasmas is the triple  
13 efficiency televisions. In 2009, we see the double  
14 efficiency plasma televisions come to the market, and they  
15 are very close to meeting our Tier 2, and Panasonic has  
16 announced that they will be listing their triple efficiency  
17 televisions fairly soon, and that should meet -- all sizes  
18 should meet the proposed Tier 2 regulations.

19           Again, this is the Sony's LED TV, which is 40  
20 percent -- I am sorry, this is a high Definition CFL  
21 television, which is like 40 percent more efficient. This  
22 television is treated with ambient light control sensors and  
23 also the automatic sensor, and it is a fairly efficient  
24 television and meets Tier 2 for a full four years before the  
25 effective dates. And innovative technologies, there are a

1 number of things like digital ambient light, sensors --  
2 sensing technology, which is available. It is a technology  
3 which Texas, Advanced Optical Systems have ultra-electronic  
4 systems have available, it is for back management of the  
5 power consumption, so it reduces the power consumption by 30  
6 percent, and by employing sensors and automatic sensors and  
7 ambient light sensors.

8           And now I will move to 3D televisions because  
9 there has been a lot said about the innovations and stifling  
10 of innovations in 3D TVs. We have found that our analysis  
11 shows that 3D TVs are -- the one that we have compared is  
12 Mitsubishi, which has introduced a 65 inch laser view,  
13 although it is not covered by the standards, but it consumes  
14 135 watts and it is 3D ready, and it consumes less than the  
15 proposed Tier 2 power requirements for a 50 inch television.

16           Let me add that the 3D television will not consume  
17 more power than 2D television. One is measuring energy  
18 consumption of 3D televisions, the 3D feature can be turned  
19 off. This is clearly illustrated in the test procedure.  
20 And this -- well, you know, this is stated in the test  
21 procedure, but also, the 3D TVs require the use of either  
22 DVD players, Blue Ray, or a PC computer card, and also it  
23 requires a special set-up and use of 3D glasses. So these  
24 3D TVs are coming to the market next year. They are not  
25 available, but they are in the stores as demo models. But

1 there is another technology 3M is developing that is going  
2 to be without the use of 3D glasses, and this technology  
3 currently is available for hand-held devices. 3M's Vikuti  
4 Films optical film that can be used in the hand-held  
5 devices, and it has not been transferred yet to the  
6 television side of it. 3M has a very good track record of  
7 their Vikuti Film optical film, integrated into the  
8 backlight panels in the LCD televisions, they save 32  
9 percent energy consumption, or reduce the energy consumption  
10 by 32 percent. And this 3D film, which is not available  
11 yet, we expect it to be energy efficient, we have -- their  
12 track record is really excellent in energy efficiency.

13           So now I will move to the cost-effectiveness. We  
14 have -- Commission staff has analyzed and found that the  
15 efficient televisions, there are technologies available,  
16 such as optical reflective films that can be used in LCD  
17 televisions, that would reduce the number of lights on the  
18 floor and lamps in the back of the television, and therefore  
19 also it reduced the -- it allows the use of smarter power  
20 supplies and with less materials and simple manufacturing  
21 processes. The energy efficient LCD televisions, the  
22 incremental cost is negative or to zero. And for the plasma  
23 televisions, with the improved phosphorus and glasses for  
24 plasma TVs, TVs will lead to a reduction in overall material  
25 costs, so therefore the televisions -- improving the

1 efficiency of the televisions is not going to cost more  
2 money to the consumers, it should be available at the same  
3 price as the inefficient television. We have on record from  
4 Display Search, which indicates that accounting for the cost  
5 of the backlight is 30-40 percent, and this can produce 50-  
6 20 percent the cost of employing the newer technology, films  
7 and all of that, on improving the backlight can save 15-20  
8 percent in cost. In Video has sent us this information and  
9 provided the information that the net cost may increase a  
10 few dollars because that is like in 2007 or 2008, so I do  
11 not know what they cost right now, but it again shows that  
12 very minimum cost, tens of dollars. And 3M also provided  
13 this information where they are showing that there may be a  
14 few dollars off incremental costs, but in the end, the  
15 consumer saves hundreds of dollars. So these are cost-  
16 effective televisions. The consumer spends a few dollars  
17 extra, but they are getting savings of hundreds of dollars  
18 in the end. And this is 3M's security film that improves  
19 the energy efficiency and reduces the cost of the  
20 televisions.

21           Again, we received the input from LCD Association,  
22 here again they said that the benefit to the consumers is  
23 hundreds of dollars, with a minimum cost of a few dollars in  
24 terms of improving the energy efficiency of the televisions.  
25 And we also received -- we had meetings with McLaughlin

1 Consulting Group and they have provided the information  
2 and, again, they are a very credible consulting group  
3 throughout the world, and they have said that the energy  
4 efficient televisions can be available at 10 percent or  
5 lesser cost, you know, employing the new technologies such  
6 as films, reducing the lamps, would reduce the cost by 10  
7 percent. So that indicates that there is not going to be  
8 increasing cost due to the standards or improving the energy  
9 efficiency of these televisions.

10           Again, we received the input from Agoura, which is  
11 another developer and they make these polarizing reflective  
12 films, and they have also said on the record that the energy  
13 efficient televisions are going to cost less by implementing  
14 the new technologies. And we also received information and  
15 had meetings with IDI, which is Image Design Incorporation,  
16 and they have new technologies available which reduce the  
17 public consumption by 55 percent, and not costing the  
18 consumers any extra money, or the manufacturers to employ  
19 these technologies. Again, the cost is 50 percent less here  
20 than the current technology. So if these technologies can  
21 be employed in CCF all types of televisions. The cost in  
22 the plasma televisions shows that moving from 2.5 lumens to  
23 5 lumens, the cost is reduced from 9 to 10 percent, 11  
24 percent, depending on the size and the resolution. So there  
25 is significant savings in improving the efficiency of the

1 plasma televisions, savings for the manufacturers where  
2 those can be passed on to the consumers. And similarly, the  
3 triple efficiency televisions, you know, the manufacturing  
4 cost can be from 37-38 percent, and when you put the  
5 inefficiencies from 5 lumens to 10 lumens per watt, so these  
6 are credible data and it is available here on the Commission  
7 website.

8           Now, I am going to go into the cost effectiveness  
9 methodology which is in the next few slides. These are the  
10 cost effective televisions which not only saves --  
11 pricewise, they are not costing more because PG&E went out  
12 and conducted a survey on the cost-effectiveness and what is  
13 available in the market, so they have -- this is the data  
14 here, they serve a 19 inch television that were 17 and 46  
15 inch televisions, 32, and more sample sizes, and this data  
16 indicates that there is a hundred dollar difference in price  
17 and whereas the savings and lifetime energy cost is \$233.00,  
18 and there are other slides like that which show that  
19 employing the energy efficiencies in the televisions and  
20 efficient televisions are not costly, they do not cost  
21 anything much to the consumer, but the savings are really  
22 big savings there. Again, there is the Sylvania model and  
23 Envisions, and then there is a Vizio model, they are the  
24 same way, the cost in the Vizio model is a \$40.00 difference  
25 here, and lifetime energy savings cost is \$150.00. So that

1 all indicates that the cost-effectiveness of the  
2 televisions, the energy efficient televisions are made  
3 available to the consumers and it is not costing any extra  
4 money. So I will pass for the further presentation to Ken  
5 Rider for Energy Savings and Greenhouse Gas Reductions.  
6 Thank you.

7 MR. RIDER: Thank you, Harinder. I am going to go  
8 ahead and move on to the estimated energy savings and  
9 greenhouse gas reductions of the Proposed Regulations. This  
10 is a breakdown of the unit savings. We estimate that per  
11 television or per unit, a savings of 216 kilowatt hours per  
12 year, and that there will be no incremental costs which just  
13 cover that assumption and Harinder just walked through a lot  
14 of examples of the TVs that cost the same or less than the  
15 typical current market television and are more fully  
16 featured and more energy efficient. So to kind of establish  
17 some of the assumptions between incremental cost of zero  
18 dollars, so we have come to the first year cost savings  
19 conclusion of \$30.24 per television, and that is calculated  
20 by taking 216 kilowatt hours per year, multiplying it by the  
21 Energy Commission's assumption of \$.14 per kilowatt hour,  
22 and then subtracting the incremental cost, which is zero,  
23 and you get \$30.24.

24 The statewide energy savings are estimated to be  
25 6,515 GWh annually and that, again, \$.14 per kilowatt hour

1 translates to \$912.1 million per year in avoided electrical  
2 utility bills. And some of the background of these numbers  
3 is available in the Notice of Proposed Action and the Staff  
4 Report.

5           Demand savings or peak savings, the Proposed  
6 Regulations are estimated to reduce peak demand reduction by  
7 615 megawatts. This number comes from the July 3<sup>rd</sup> PG&E case  
8 report study, and this would lead -- or this additional peak  
9 -- this demand reduction would allow us to avoid the cost of  
10 building the 615 megawatt power plant, which at a cost of  
11 approximately \$1 million per megawatt for construction of a  
12 natural gas power plant, would translate to savings of \$615  
13 million, in addition to the energy savings.

14           Greenhouse gas reductions -- so because these  
15 regulations will reduce the energy consumption in  
16 California, this will also lead to a reduction in greenhouse  
17 gas emissions. And in our Negative Declaration, which is  
18 the environmental report on televisions for this rulemaking,  
19 we estimate these savings to be 3.1 and this unit here is  
20 the same as this, which is a million metric tons of CO<sub>2</sub>  
21 equivalent, and that is per year. And these savings are  
22 really important to accomplish the goals of AB 32, Assembly  
23 Bill 32, which is, to be more specific, a bill that was  
24 passed to reduce greenhouse gas emissions in California.  
25 And you can see here, we have got a nice graph here on the

1 side, we have a million metric tons of CO<sub>2</sub> equivalent, and  
2 we have business-as-usual case, and a with regulation  
3 estimation case, and you can see that this Proposed  
4 Regulation, according to our analysis, reduced greenhouse  
5 gases from business-as-usual by 43 percent.

6 I would like to go over a couple of other findings  
7 which may be of interest to you commenters up there. And  
8 these are found -- these findings are found in the Notice of  
9 Proposed Action. We have found that these Proposed  
10 Regulations will not lead to increased housing costs, not  
11 lead to a loss of jobs in California, not decrease the  
12 ability of in-State business to compete with out-of-state  
13 business, will not create significant costs to businesses  
14 and individuals, and will not add significant costs to small  
15 businesses. And I have added below here that -- and it is  
16 important for the economics of our proposal -- that the  
17 Proposed Standards will have a positive economic impact due  
18 to its \$8.1 billion value to the state. And there is some  
19 background to the assumptions behind that in the staff  
20 report and the Notice of Proposed Action.

21 Another important thing to note is that we have  
22 considered alternative proposals to the ones that we were  
23 proposing for the 45-day language today. One of the  
24 criteria that we used to judge alternative proposals is that  
25 they must achieve equal or better energy savings and which

1 are equally or less burdensome to business. The  
2 alternative proposals presented to date to the Commission  
3 were already either incorporated in the Proposed  
4 Regulations, or not prone to save additional energy.

5           And I would like to point out particularly that  
6 relying on the Energy Star Program will not achieve the same  
7 energy savings as our Proposed Regulations, and that the  
8 Energy Star savings will occur in addition to the existence  
9 of the Proposed Standards, for example, the Energy Star 5.0  
10 specifications, savings related to that, will happen in  
11 addition to our Proposed Standards, to the energy savings  
12 associated with the Proposed Standards. So therefore, the  
13 Proposed Standards accomplish additional energy savings.

14           I would like to go over or reiterate -- this  
15 information is available in the Notice of Proposed Action,  
16 the process to make a public comment, a written public  
17 comment, you can e-mail -- or you should e-mail the docket,  
18 and this is the e-mail -- it is [docket@energy.state.ca.us](mailto:docket@energy.state.ca.us),  
19 and that is for e-mails. If you would like to snail mail or  
20 physically mail a written comment to the Energy Commission,  
21 the address is here, and for those on the phone, you want to  
22 address it to the California Energy Commission, you want to  
23 add the subject line: "Docket Number 09-AAER-1C," you want  
24 to address it to the Docket Unit, and our address is 1516  
25 Ninth Street, Mail Station 4, Sacramento, California, 95814-

1 5504. And, of course, we are here today to make additional  
2 written comments and oral comments, as well. The  
3 conclusion, this concludes the presentation, and I want to  
4 make a couple comments about public comments. Please try to  
5 stay within the allotted time the Commissioners give for  
6 public comment. We need to make sure that we can hear  
7 everyone today. And I want to say that the order in which  
8 the public comments will be conducted, we will start with  
9 blue cards in the room. If there is anyone in Hearing Room  
10 B with a blue card, I hope there is no one out there, but if  
11 there is, we ask that you come in to Hearing Room A when you  
12 are called by the Commissioners. And then, after we receive  
13 public comment from everyone in the room, and the blue  
14 cards, we will move to open the phone lines for public  
15 comment on the phones. I think that covers most of this,  
16 and I will now turn it over to the Commissioners to maybe  
17 perhaps make more statements and to moderate the cards and  
18 public comment process.

19 COMMISSIONER LEVIN: Thank you very much, Mr.  
20 Rider and Mr. Singh. I also would like to thank the  
21 Commission's other staff who have worked tirelessly on this  
22 Proposed Rule. They have done so amidst -- be careful what  
23 you wish for kind of blessing of having also to figure out  
24 how to distribute several hundred million dollars of  
25 stimulus funding quickly and in a way that stimulates jobs

1 and energy savings, and they have done so amidst furloughs  
2 and pay cuts, so I am very very grateful for the tremendous  
3 work, not just for Energy Efficiency staff, but our Legal  
4 staff and our Communications staff, and a number of other  
5 staff, as well. So thank you to them, this is very hard  
6 work and it is very important for the Proposed Rule.

7           At this time, I would like to ask for additional  
8 blue cards. I believe we have a dozen so far, in addition  
9 to possible comments from participants on the phone. Ms.  
10 Hall, do you have additional cards? Okay. I would like to  
11 remind you, we are only taking comments on the proposed  
12 rule. I would also like to encourage you, if you have  
13 extensive comments or a great deal of statistical  
14 information, we absolutely welcome them at this time, but if  
15 you cannot present it in four to five minutes, please do  
16 submit written comments and keep your oral comments more to  
17 a summary form, that would be the most helpful. This is not  
18 intended as a back and forth; we have held several workshops  
19 over the past year, we have met with Consumer Electronics  
20 Association and the Retailers Association, many many  
21 companies, many manufacturers, retailers, environmental  
22 groups, consumer groups, and individuals. We continue to  
23 take comments until November 2<sup>nd</sup>, which is the public comment  
24 deadline. But, again, for today's purposes, if you can keep  
25 your comments to 4or 5 minutes and then more of a summary

1 nature, and any additional detail, we would be happy to  
2 receive in writing any time up until the close of business  
3 on November 2<sup>nd</sup>. So with that, I am going to begin with the  
4 blue cards that I already have. Actually, before I begin, I  
5 would like to ask Mr. Johnson, is anyone from Consumer  
6 Electronics Association planning to make public comments? I  
7 do not believe I have a card. Okay, I have received, okay.  
8 Then, with that, I would like to start with Mr. Noah  
9 Horowitz from NRDC. Mr. Horowitz. And each speaker, if you  
10 could also identify yourself again for the record, that  
11 would be great.

12           MR. HOROWITZ: Good morning, although my name is  
13 Noah Horowitz, I am not responsible for the rain today.  
14 First of all, thanks everyone for all the hard work and this  
15 has been a long process. I am here with the Natural  
16 Resources Defense Council, NRDC. We are an environmental  
17 advocacy group with over 1.3 million members and e-  
18 activists. We did the first study on how much power flat  
19 panel TVs used back in 2004, and that kind of served as a  
20 call to action on this, so we believe we are experts in this  
21 field, and have been an active participant in this process.  
22 We are here today to express our strong support for the  
23 standards. We think that they should be adopted promptly,  
24 and the benefits speak for themselves. To reiterate real  
25 quickly, it is about \$1 billion per year in electricity

1 savings, once the full stock turns over, we are going to  
2 save around 3 million tons of CO<sub>2</sub> per year, and avoid the  
3 need for a large power plant. There are many supporters  
4 here today who I think you will hear from shortly. It is an  
5 extensive and diverse group. First off, I would like to  
6 point out that I am not the only environmental group that  
7 supported this, we have Environment California, Sierra Club,  
8 Environmental Defense Fund, Union of Concerned Scientists,  
9 and many other environmental groups. I have a letter here  
10 that we are going to submit to the docket that is signed by  
11 all of these groups. Also, I believe you will be hearing  
12 from Vizio, who is the largest maker of flat panel TVs, and  
13 they have already stated on the record their ability to meet  
14 the standards well ahead of the proposed effective date.  
15 You will also hear from several suppliers who are providing  
16 the technology that helps these standards be met, as well as  
17 some of the utilities. I also want to point out other  
18 states such as Massachusetts and some in the Northwest that  
19 are watching very closely what is happening in California,  
20 and they are likely to pass similar standards to those here,  
21 and they would propose cutting and pasting what is being  
22 done here. They are not going to create a patchwork, which  
23 is a concern of many of you here, which we understand, they  
24 would simply adopt what California is going to do,  
25 hopefully. So quickly, I want to provide a little bit of

1 context and then make a few reinforcing comments. The goal  
2 here is a simple one; we believe, as does the CEC, that we  
3 want to ensure that every television sold in California is  
4 an efficient one. My comments are going to focus on Tier 2.  
5 Today, yes, there are many TVs that meet Tier 2, and this is  
6 due to the innovation we are seeing by the manufacturers,  
7 but if you note, only about a quarter of today's TVs meet  
8 Tier 2, we want to make sure every television sold in  
9 California meets those levels. And the context has already  
10 been provided, so I do not need to go over it, I just want  
11 to add one other comment, that TV is the biggest, or one of  
12 the biggest, unregulated appliances in the home. California  
13 has a long history of regulating appliances with all the  
14 energy savings and other benefits without any problems in  
15 their implementation. Some of the largest TVs, some of the  
16 less efficient models out there, they use more energy per  
17 year than a standard refrigerator, an 18-21 cubic foot  
18 refrigerator. Also, as you all know, California has very  
19 ambitious goals to meet AB 32. We are trying to have zero  
20 net energy homes, or ZNE Homes, that is a good acronym if  
21 you just take home from the hearing. We are investing  
22 billions of dollars in renewables and we want to make sure  
23 that is not wasted. We want to make that go as far as  
24 possible, so if you have a 2KW rooftop TV system, we do not  
25 want a 300 watt TV throwing a lot of those hard earned

1 savings away. In terms of product availability, yes, there  
2 are close to 300 models today that meet the proposed levels  
3 three years before the effective date, and these standards,  
4 it is important to note, these are technology neutral and  
5 performance-based. The state, despite what you have seen in  
6 the newspaper, is not saying whether you can buy an LCD or a  
7 plasma, or an old LED, it is not saying you have to use this  
8 film or that type of backlight, it leaves the floor open for  
9 industry to innovate, which we agree is the way to go.

10 Right now, I have a list here, we cut and pasted from the  
11 Energy Star Spec, there are over 300 models -- I am sorry,  
12 just under 300 models -- that meet the standard. They are  
13 from a wide range of household names, you get the same grade  
14 high definition picture, and it is at the low end and high  
15 end of price points, from the smallest to the largest TVs.

16 So I would like to submit that to the docket, as well. You  
17 have heard a lot about concerns all the small retailers are  
18 going to go out of business due to the standard, and the CEA  
19 hired a consultant to do a study, and they assumed 25  
20 percent of today's models, the 2008 models will not be  
21 available in 2013. Where did that number come from? Which  
22 models would be obsolete, despite many request for the data?  
23 We have not seen that. And through their model, they  
24 assumed the state would lose \$50 million in money to the  
25 General Fund, and we would lose 4,600 jobs. There has never

1 been anything demonstrated that you will not be able to get  
2 a high-end TV. Also, that study conveniently ignores the  
3 close to a billion dollars in savings that we will see in  
4 electric bills, so if they hired an economic analyst, we are  
5 surprised and disappointed that that was not included. So  
6 let's make this real. I went to Best Buy the other night, I  
7 looked at their website, and I was happy to see a lot of  
8 qualifying models, and I have a couple of pictures of what I  
9 saw when I went shopping, if someone could bring those two  
10 easels out, please? This is the risk of going low tech. Or  
11 if someone could just hold those, we do not need to take  
12 anymore time. So, Harinder, if you could hold up your sign  
13 first, Ken, hold that. On the floor today is a 46 inch LCD  
14 TV by Samsung, and that picture on the bottom, it is 1.2  
15 inches thick, it is one of the thinnest TVs on the market  
16 today, and has outstanding performance characteristics, and  
17 if you will hold up the sign there, Ken? The standard for a  
18 46 inch TV is 133 watts. The Samsung model today only  
19 consumes 104 watts. I went to the salesperson and said,  
20 "Hey, what would be a similar high-end Sony? There is a  
21 good, better, best sort of nomenclature there, and Sony's  
22 XBR series is toward the high end. This was also a 1080P  
23 TV, and it used 189 watts, did not meet the standard. The  
24 Samsung is about 40 percent lower in power consumption. And  
25 look at the contrast ratio. This is what many of the high-

1 end video files considered to be high end, and the Samsung  
2 trumps the Sony model in terms of contrast ratio. Also, if  
3 you look at the operating cost, first of all, the Samsung is  
4 about the same price, a few dollars less today, and the  
5 price of LEDs is only going to go down, and the operating  
6 cost, you will save over \$200.00 over the life of the  
7 product. So this is real, this is not some abstraction.  
8 Thank you.

9 COMMISSIONER LEVIN: Mr. Horowitz, I have to ask  
10 you to start to wrap it up soon, please.

11 MR. HOROWITZ: Sure. So these sizes are available  
12 in 46, 52 and 55 inch, and Sharp also has TVs of a similar  
13 nature, that use even less power. In terms of innovation,  
14 we have heard a lot that we are not going to be able to get  
15 3D TVs, let's be very clear here, when the test is done, you  
16 are using images that are 2-dimensional, so you are never  
17 forcing that TV to display a 3D image, so that is a complete  
18 red herring, as is with Internet TV. We are not plugging  
19 the TV into the Internet when you are doing the test, so any  
20 incremental power is not shown. So to close out then, and I  
21 appreciate the time that has been provided here, Energy Star  
22 is a voluntary program, about 25 percent of today's models  
23 meet Version 4.0. We want to make sure the other 75 percent  
24 of the market also meets the standards, and I believe we  
25 will hear from some of the other utilities, they are going

1 to offer rebates to jumpstart this market, to ensure we  
2 have a smooth path, to make sure all the models meet the  
3 proposed Tier 2. So, in closing, we think these standards  
4 are readily achievable, with technology that is available  
5 today, and you are going to hear soon also, I believe, that  
6 there is a lot more improvements coming. Also, the Consumer  
7 Electronics Industry does not speak for the whole industry,  
8 as I think you will hear here today, as well. I encourage  
9 the CEC to adopt the standards and have a vote on this  
10 promptly. Thank you.

11 COMMISSIONER LEVIN: Thank you. The next speaker  
12 is Mr. Gary Fernstrom from PG&E.

13 MR. FERNSTROM: Good morning, Commissioners, staff  
14 and interested parties. I am Gary Fernstrom, a Program  
15 Engineer from Pacific Gas & Electric Company. I would like  
16 to say that, over a decade ago, I and PG&E created and  
17 developed the Energy Standards Program that the Codes or  
18 that the State's utilities now subscribe to. This program  
19 was designed to supplement the traditional information and  
20 rebates that the utilities in California have given to  
21 achieve energy efficient goals, so the Utilities firmly  
22 believe that it is important not only to have a carrot, but  
23 if you will, a floor, in order to bring up those products  
24 that are inefficient in the market, and represent the bottom  
25 of the market. The state's utilities are all in support of

1 this. Over five years ago, PG&E began working with the  
2 NRDC on investigating the possibility of television  
3 standards. For the last three years, the state's utilities  
4 have been actively advocating with the Commission for the  
5 standards that you have proposed in the 45-day language. We  
6 are universally in support of that, as are some of the non-  
7 investor owned, non-CPUC regulated utilities in the state.  
8 As Noah mentioned, televisions are an important and growing  
9 end use. In order that we collectively can meet the  
10 legislated goals for environment and energy efficiency in  
11 the state, the California Energy Commission and the  
12 utilities need to work together in order to assure that  
13 products on the market not only meet minimum energy  
14 efficiency requirements, but receive incentives for those  
15 that offer premium performance. The Commission has received  
16 an unprecedented amount of data over the last year, year and  
17 a half, which strongly shows that what is proposed is cost-  
18 effective, in the interest of California utility customers  
19 and citizens, and should be adopted. It has been suggested  
20 that standards minimize the opportunity for innovation. In  
21 my experience in the last 10 years, I have found quite the  
22 opposite, where standards have been imposed, for example,  
23 for external power supplies, swimming pool pumps, and other  
24 products, they have stimulated innovation because the market  
25 and designers are constantly moving forward with new ideas

1 to achieve even higher efficiency. So there is no reason  
2 to believe that these standards would stifle innovation.  
3 Thank you.

4 COMMISSIONER LEVIN: Thank you very much, Mr.  
5 Fernstrom. I am sorry if I mispronounced your name the  
6 first time. I also would like to thank PG&E, in particular,  
7 as well as the other utilities, for coming forward with the  
8 codes and standards advancement proposal that really started  
9 this process, and your recognition, PG&E, that televisions  
10 are a growing consumer electricity. Our next speaker will  
11 be Mr. Alex Chase from Energy Solutions.

12 MR. HUNGERFORD: I also would like to add a  
13 reminder that anyone who comes to the podium to speak, if  
14 you could please provide your business card to the Court  
15 Reporter so he can properly spell your name that would be a  
16 great advantage for him.

17 MR. CHASE: Well, my name is Alex Chase, I am a  
18 Senior Product Manager with Energy Solutions, and I am here  
19 representing PG&E today. I would like to thank  
20 Commissioners, Advisors, and staff for the opportunity to  
21 provide comments. Personally, I have been engaged in this  
22 proceeding since the beginning, going all the way back to  
23 January 2008 for the initial Scoping Workshop. And over the  
24 course of this nearly two years, the Commission has received  
25 an extraordinary amount of information from interested

1 stakeholders. So we are pleased that the CEC has finally  
2 received the 45-day language, and we strongly support a  
3 quick adoption. Adopting this standard will play an  
4 important role in addressing the energy and climate  
5 challenges that California is facing today and in the  
6 future. For perspective, there is about 35 million TVs in  
7 California today. Now, as Noah mentioned, the other states,  
8 the U.S. Government, and around the world, is looking to see  
9 what California is doing, and worldwide that is important.  
10 The International Energy Agency estimates that there is  
11 going to be soon two billion TVs in the TV end-use  
12 worldwide. So for perspective, if you were to take all  
13 those TVs, line them up side by side, you would have a line  
14 that stretches approximately 884,000 miles. So in terms of  
15 how long that is, that would be enough to circle the Earth  
16 about 35 times, or you could go to the Moon about four  
17 times. So it is an important piece of information, once you  
18 start to plug all those TVs in, how much energy do those TVs  
19 use? So worldwide, TVs in 2008 used about 275 Terawatt  
20 hours. In more common terms, that is 275 Billion Kilowatt  
21 hours. How much is that? That is more than the entire  
22 country of Australia's electricity production, that is more  
23 than Mexico's and it is just below Spain and the United  
24 Kingdom. So the magnitude of these numbers and their  
25 implications on system reliability, peak demand, more than

1 peak the interest of the electric utilities. And it is  
2 clear why this is such an important topic, and being  
3 followed not just in California, but around the world. Now,  
4 as we have presented over nearly two years, the good news is  
5 that there is a lot of cost-effective strategies to address  
6 this growing load. PG&E has responded by engaging in three  
7 areas, first, developed a business and consumer electronics  
8 program that is actively engaged with all the national  
9 retailers and local independent retailers to help them stock  
10 and promote the most energy efficient televisions, it is  
11 also providing marketing pieces so when customers go into  
12 these stores, they know which are the most efficient TVs.  
13 The second area is PG&E has been actively engaged in the  
14 Energy Star stakeholder process, and has really encouraged  
15 meaningful levels there. And last, but not least, we have  
16 of course been involved actively in the Title 20 Appliance  
17 Standards for Television Proceeding. PG&E believes that all  
18 three of these strategies are interconnected and important,  
19 and Tim Michel from PG&E will be addressing in his comments  
20 a description on the business and consumer electronics  
21 program and the Energy Star engagement, and I am going to  
22 focus on the standards themselves. So to step back, just  
23 for those that have not been involved in the process over  
24 the nearly two years, we have provided five presentations at  
25 three public workshops, we have provided extensive two

1 reports that support the standards, and we have submitted  
2 follow-up letters after the July 2008 and the December 2008  
3 workshops. I do not have time to review all this material  
4 in detail, of course, but I should mention that everything  
5 that we have submitted is available on the Commission's  
6 website, it is heavily documented, and it is available for  
7 review. I will summarize our findings in five points,  
8 first, televisions represent a prominent and growing source  
9 of energy use consumption, as has already been mentioned, it  
10 is on a trajectory to become perhaps a dominant and in some  
11 cases the leading end-use energy consumer in the home;  
12 second, addressing this load growth with standards will be  
13 an important strategy for California to achieve its energy  
14 efficiency and greenhouse gas reduction goals; third, as has  
15 been mentioned, a majority of the TVs already meet Tier 1  
16 today, and many already meet Tier 2; fourth, the combination  
17 of declining production costs for efficient technologies,  
18 combined with the immense operation cost savings, will  
19 result in extremely cost effective standards; and finally,  
20 as I mentioned previously, California will lead not only the  
21 nation but the entire world by adopting these standards.  
22 Now, unfortunately, there has been a lot of information  
23 spread about the proposed standards without justification.  
24 Many of the opposing voices are even contradictory. On the  
25 one hand, the CEA has stated that the standards are

1 "unnecessary because industry is already responding," on  
2 the other hand, they state that these standards will result  
3 in "dire economic consequences." So it begs the question,  
4 if industry is already going to meet these levels, why would  
5 the presence of a standard result in such dire economic  
6 consequences?

7 COMMISSIONER LEVIN: Mr. Chase, I have to ask you  
8 to try to sum up, please.

9 MR. CHASE: Sure. I do want to reiterate that, at  
10 the December 15<sup>th</sup> workshop, the CEA presented its model and,  
11 as Mr. Horowitz mentioned earlier, the Commissioners and  
12 Advisors rightly pointed out two glaring errors within that  
13 model, and this was the model that set up the claims for  
14 extreme job loss and extreme tax revenue loss. The  
15 Commissioners and Advisors rightly pointed out that the  
16 model left out all energy cost savings that Californians  
17 will realize, and then they also incorporated the  
18 assumptions that their members would not change their  
19 product assortment over the next few years to meet these  
20 proposed levels. So to wrap this up, I will skip ahead and  
21 just want to mention that, since 1976, California has been a  
22 leader in efficiency innovations by adopting Codes and  
23 Standards. This model is proven and was adopted nationally  
24 when President Reagan signed the National Appliance Energy  
25 Conservation Act in 1986. Since then, these standards have

1 resulted in close to billions of savings from consumers  
2 within the nation. We fully expect this TV standard will  
3 continue in this strong legacy. Those are my comments and I  
4 thank you for your attention.

5 COMMISSIONER LEVIN: Thank you very much, Mr.  
6 Chase. Tim Michel -- or Michael -- from PG&E. It is  
7 probably neither pronunciation.

8 MR. MICHEL: You got it right on the second one.  
9 I was blessed with one of those bad last names.

10 COMMISSIONER LEVIN: Somebody just forgot a  
11 letter.

12 MR. MICHEL: That is right, I need to add it in.  
13 Thank you for the opportunity to be here again. My name is  
14 Tim Michel, I am a Supervisor with Pacific Gas & Electric  
15 Company, and I have the honor and privilege of working with  
16 a team of extraordinary folks at PG&E that have helped  
17 develop a voluntary program effort that we believe is very  
18 complimentary to the efforts that are being considered here  
19 today. Our program works with the industry, so we are  
20 working with retailers to help get them to stock, promote,  
21 and sell more energy efficient televisions. We are working  
22 with organizations under agreement such as Best Buy, Wal-  
23 Mart, Costco, Sears, K-Mart, soon a variety of independent  
24 retailers through national buying groups, so we are engaging  
25 the entire retail marketplace to help create an awareness,

1 an energy efficiency awareness, around televisions in our  
2 marketplace. We also feel very blessed to be working with  
3 other utilities in California, and PG&E and the Sacramento  
4 Municipal Utility District were the first to launch this  
5 program here in California, and now we see other investor-  
6 owned utilities like Southern California Edison and San  
7 Diego Gas & Electric, who have implemented programs, and we  
8 see other municipal utilities in California looking to  
9 implement similar voluntary programs. We think that the --  
10 well, we do not think, we know -- that the program is  
11 complimentary to what you are considering right now.  
12 Essentially, we have a market pull strategy. We are going  
13 to, beginning next year, and right now we are already going  
14 beyond what you are considering here for Title 20 Standards.  
15 Beginning in January, our utilities will be supporting a  
16 two-tiered incentive level on a voluntary basis, supporting  
17 the Energy Star 4.0 and 5.0 levels, and as we see market  
18 share increase within these particular product categories,  
19 we will consider raising the bar and continual raising the  
20 bar to push energy efficiency on a voluntary basis within  
21 our service territories, and I think we will see that  
22 throughout the utilities in California doing it on behalf of  
23 their utilities. We know that -- and we have seen the same  
24 kind of complimentary benefits happen within the appliance  
25 sections where you have implemented Title 20 standards on a

1 variety of appliances and utilities have implemented  
2 voluntary programs to help kind of pull the market into  
3 where you are going, and it would be our intention to  
4 leapfrog beyond that, as those standards get adopted in  
5 California. Really, just to wrap things up, we think  
6 California is very well positioned to have a very  
7 significant market transformation impact in the state, and  
8 it would be done through a combination of utility incentive  
9 programs working with the industry, energy performance  
10 standards, and customer and retailer education. Just to  
11 give you an idea, we along with the Sacramento Municipal  
12 Utility District and several other utilities in California,  
13 are putting up point of purchase materials on television,  
14 within retail locations that I have mentioned, so that we  
15 can make the customer aware that they do have energy  
16 efficiency choices, and we want them to make the right  
17 energy efficiency choice. So I thank you for what you are  
18 embarking on here in California, and I thank you for the  
19 opportunity to speak here today.

20 COMMISSIONER LEVIN: Thank you very much, Mr.  
21 Michel.

22 MR. MICHEL: Thank you.

23 COMMISSIONER LEVIN: Mr. Hamzawi from Sacramento  
24 Municipal Utility District. Did I slaughter your name, too?

25 MR. HAMZAWI: No.

1           COMMISSIONER LEVIN: And just a reminder please,  
2 if speakers could give their business cards to our Reporter,  
3 that would be very helpful.

4           MR. HAMZAWI: My name is Ed Hamzawi, I am the  
5 Program Implementations Advisor for Energy Efficiency  
6 Programs at the Sacramento Municipal Utility District, and I  
7 thank you for the opportunity here. I commend the Energy  
8 Commission and its staff on the thoughtfulness and  
9 thoroughness with which the proposed television standards  
10 have been developed and proposed. I guess I am just going  
11 to add my voice to the fire thus far, and mention that it is  
12 our view that the proposed Standards present a most  
13 reasonable and effective balance between setting energy  
14 efficiency guidelines on a very fast changing and  
15 competitive technology, with innovative and creative  
16 manufacturers, while taking into consideration the  
17 significant energy savings and greenhouse gas reduction  
18 goals for the State of California. As has been stated,  
19 televisions are currently a growing source of energy use in  
20 homes and business and, in fact, with ever growing sizes and  
21 features, can represent the single largest annual  
22 electricity end-use in homes, replacing refrigerators and  
23 freezers in this category. As history has shown,  
24 establishing energy efficiency standards for those and other  
25 appliances has approved over the past decades to be an

1 extremely effective method of managing and reducing energy  
2 use without affecting consumer choice, while maintaining  
3 reasonable cost per unit, and increasing innovation and  
4 creativity by manufacturers in response to the challenges  
5 presented by them. We expect and anticipate that the  
6 response to these standards will not be any different in  
7 this case and are very anxious to continue working with our  
8 manufacturer and retailer partners, along with other  
9 utilities and organizations in California and beyond, to  
10 help promote and promulgate products and information to the  
11 consumers that will help them make better energy efficiency  
12 choices and product selections, while maintaining a wide  
13 variety of choices and options for consumers to select from.  
14 It is our hope and belief that the combination of market  
15 push provided by the Standards, and the market pull provided  
16 by incentives will prove to be a most effective means of  
17 transforming this market over the coming years. As has been  
18 noted, and we note also that, in support of the proposed  
19 Standards, that over 1,000 of today's TV models in all  
20 sizes, ranges, already meet the Tier 1 Standards proposed  
21 for 2011, and that nearly 300 models already meet the Tier 2  
22 Standards for 2013, and with continued model improvement  
23 over the next four years, SMUD has great confidence that TV  
24 manufacturers can continue to provide a wide variety of  
25 choices and innovative features that meet the Tier 2

1 standards. I guess, lastly, we have encouraged parties  
2 involved to move with all haste to develop and implement  
3 standards for televisions greater than 1,400 square inches,  
4 with current trends towards ever increasing sizes for  
5 televisions, we hope that this niche in the market will not  
6 be left unattended or overlooked in the coming months or  
7 years. Even now, there are several plasma, LCD, and OLED  
8 models larger than 1,400 square inches that could meet the  
9 proposed Tier 1 Standards today, even though they do not go  
10 into effect until 2011. And we believe there is adequate  
11 time and that TV manufacturers possess the ingenuity and  
12 technological innovation and resources to make the changes  
13 necessary to make these larger televisions meet Tier 1  
14 Standards and in setting and meeting future Tier 2  
15 standards, as well. Thank you for allowing me this  
16 opportunity to provide comments on behalf of SMUD. Thanks.

17 COMMISSIONER LEVIN: Thank you very much. Mr. Ken  
18 Lowe with Vizio.

19 MR. LOWE: I am just making a few statements on  
20 behalf of Vizio and who is Vizio? For the first half of  
21 2009, we have been the number one shipper of flat panel TVs  
22 in the USA. High quality value priced TVs are available in  
23 Wal-Mart, Costco, Sam's Club, and Target. We provide TVs  
24 with the latest technologies and features, we have  
25 longstanding environmental commitment and our impact on the

1 environment, not only through reduction in power  
2 consumption, but in materials and end-of-life disposal. We  
3 have reviewed the proposed CEC standards and are comfortable  
4 with our ability to meet the proposed levels and their  
5 implementation dates. Today, several of our models already  
6 meet the proposed Tier 2 levels, and that are not scheduled  
7 to go into effect until January 1<sup>st</sup>, 2013. We are in the  
8 process of redesigning our other models so that the new  
9 designs will meet these levels by the CEC deadlines. New  
10 technologies such as LED backlighting helps to reduce power  
11 consumption to meet Tier 2 levels. Currently, the cost  
12 addition for the Vizio consumer is from tens to hundreds of  
13 dollars, depending on the screen size. And we expect, as  
14 the volume increases of TVs with the LED backlighting that  
15 the price/cost additions will come down. Another technology  
16 is ambient light sensing, where the TV is able to sense the  
17 ambient lighting in the room and adjust the brightness  
18 accordingly, therefore reducing the power in a darkened  
19 room. The proposed addition of requiring the TV to enter  
20 stand-by after 15 minutes of no video could create problems.  
21 All Vizio TVs will perform this function on the computer  
22 input, and it took several iterations of timing adjustment,  
23 years ago, to reduce customer calls to a reasonable level  
24 because of misunderstanding by customers of what is  
25 happening, and when the TV goes off, they do not know what

1 to do and they call our tech support, which is a cost to  
2 us. If connected to an antenna, a cable box, or a satellite  
3 box, the video will never disappear, and so perhaps this is  
4 a moot point. One final point I would like to touch on is  
5 consumer education. And education campaign through  
6 advertisements encouraging consumers to turn off their TVs  
7 when not using them will result in further incremental  
8 savings. Thank you.

9 COMMISSIONER LEVIN: Thank you very much. Mr. Ron  
10 Gorman, Sempra? Mr. Gorman?

11 MR. GORMAN: Good morning. Thank you,  
12 Commissioners and staff. I have been asked -- I am a  
13 Program Manager for Sempra Energy, or the Sempra Utilities,  
14 which is San Diego Gas & Electric and Southern California  
15 Gas Company, I have been asked to read into the record a  
16 support letter from Pacific Gas & Electric Company, Southern  
17 California Edison, San Diego Gas & Electric, Southern  
18 California Gas Company, Sacramento Municipal Utility  
19 District and, excuse me one second, I always forget these,  
20 Northern California Power Agency. This should already be in  
21 your hands. "Dear Commissioners: On behalf of the  
22 undersigned California utilities, we are writing to express  
23 our strong support for the California Energy Commission's  
24 Proposed Television Efficiency Standards, Docket No. 09-  
25 AAER-1C. Together, we provide energy services to over 33.5

1 million Californians. We agree with the Commission that  
2 televisions represent a prominent and growing source of end  
3 use energy consumption. Addressing this growth through a  
4 combination of energy performance standards and utility  
5 incentive programs will be necessary for California to meet  
6 statewide energy efficiency and greenhouse gas reductions  
7 such as those articulated in AB 32 and the CPUC's recent  
8 2010 through 2012 Energy Efficiency Portfolio Approval. The  
9 proposed TV Standards will generate an estimated 6,515 GWh  
10 and energy savings annually, after all existing stock is  
11 replaced. For perspective, this is equivalent to roughly 2  
12 percent of California's total system-wide electricity  
13 consumption in 2008. By focusing on demand-side efficiency,  
14 the standard will eliminate a power plant equivalent load  
15 from the electric grid, roughly 500 Megawatts. The overall  
16 energy cost savings for our customers is expected to be  
17 approximately \$8.1 billion. An unprecedented body of  
18 evidence has been presented before the Commission showing  
19 that the TV Standards are feasible, cost-effective, and  
20 critical for meeting statewide goals. There are currently  
21 over 1,000 TVs that meet the Tier 1 power requirements in  
22 nearly 300 TVs that meet the Tier 2 power requirements -- 15  
23 and 39 months before the respective effective dates. Ample  
24 evidence has been presented before the Commission showing  
25 that TV manufacturers are offering, or plan to offer, before

1 the effective dates, these energy efficiency TVs with  
2 sacrificing product performance. The Commission should  
3 continue its decades-long track record by promoting energy  
4 efficiency through appliance and building standards such as  
5 has been done previously with refrigerators, air  
6 conditioners, external power supplies, and many other  
7 appliances. In supporting this proposal, we believe that  
8 California will be doing what is best for the state, the  
9 environment, and the consumer. Thank you.

10 COMMISSIONER LEVIN: Thank you very much, and to  
11 the other utilities, as well. Speaking of which, the next  
12 speaker is Mr. Hornquist from Southern California Edison.

13 MR. HORNQUIST: Good morning, Commissioners,  
14 staff, and stakeholders here present today. My name is  
15 Edwin Hornquist. I represent the Codes and Standards  
16 Program for Southern California Edison. I would first like  
17 to thank you for the opportunity to speak here today and  
18 would like to reaffirm our support for the proposed  
19 television standards. For many years, Southern California  
20 has supported voluntary incentive base programs that help  
21 bring to market energy efficiency products that result in  
22 cost savings to consumers. These programs are an  
23 indispensable tool that helps accelerate the adoption of  
24 energy efficiency products into the marketplace. As energy  
25 efficient products availability and market acceptance

1 increases, the adoption of cost-effective codes and  
2 standards becomes an important tool to achieve further  
3 energy reductions. We believe that the CEC proposed  
4 standards should be adopted to allow Californians to begin  
5 realizing the billions in cost savings, while achieving  
6 substantial reductions in greenhouse gases and other  
7 environmental pollutants, as move towards zero net energy  
8 goals and substantial reductions in greenhouse gas  
9 emissions, as called for under AB 32. Industry needs to be  
10 commended for their efforts and for their role in helping  
11 bring energy efficiency products to the market, which make  
12 considering these standards possible today. The recent  
13 release of the EPA's Energy Efficient Specifications for  
14 Televisions Versions 4 and 5, as we have seen in prior  
15 presentations, is a testament to the progress that continues  
16 to be made. Again, Southern California Edison supports the  
17 adoption of these standards for televisions and urges the  
18 Commission to move forward in adopting them. Thank you for  
19 the opportunity to speak here today.

20 COMMISSIONER LEVIN: Thank you very much. Jasmin  
21 Ansar, Union of Concerned Scientists.

22 MS. ANSAR: Good morning, Commissioners and  
23 stakeholders. Union of Concerned Scientists is a leading  
24 nonprofit alliance of scientists and citizens working for a  
25 healthy environment and a safe world. I just want to say,

1 the Union of Concerned Scientists strongly supports  
2 adoption of these standards. These measures are an  
3 important and critical part of a portfolio of measures that  
4 are needed to help California achieve the greenhouse gas  
5 targets embedded in the Global Warming Solutions Act, AB 32.  
6 I am a climate economist for the Union of Concerned  
7 Scientists, and being a practicing economist, I will focus  
8 my remarks on some of the fundamental and significant  
9 problems in the admissions with the economic impact analysis  
10 undertaken by Resolution Economics for the Consumer  
11 Electronic Association. I think one of the main problems  
12 with the analysis is that it makes a fundamental and  
13 simplistic assumption that all non-compliant TVs represent  
14 lost output for the state, and that TV technology  
15 essentially remains unchanged, so that these less efficient  
16 TVs would command the same sort of market share. The  
17 analysis of the report itself estimates for California State  
18 tax, job, and revenue losses by examining a forecast of the  
19 volume of TV sales for the whole of the U.S., it then  
20 estimates California's share by the total TV sales by type  
21 of TV, and it assesses as a loss for California the total  
22 estimated number of non-compliant TV sales. As I said, one  
23 of the problems with this is that, 1) it is a partial  
24 analysis, so it is only examining the TV sector and what it  
25 really fundamentally ignores is the implications of the

1 repercussions of these in terms of output for any of the  
2 other sectors. It also ignores the fact that, you know,  
3 once a regulation is in place, basically the authors assume  
4 that all of those sales that would have been made now  
5 basically leave California, so they totally ignore the fact  
6 that there may be substitution of these sales, that is,  
7 substitution from non-compliant to more compliant TVs, and  
8 substitution in other markets in the sense that the consumer  
9 presumably, if they are not going to buy the TV, and they  
10 are not buying another TV, they are going to be spending  
11 that money within the state on other goods and services. So  
12 this substitution aspect is ignored, and the CEA analysis is  
13 partial, and any of the spillover effects or substitutions  
14 effects have been ignored. The other aspect is, of course,  
15 that this is a dynamic market, and unfortunately for the  
16 authors, they rest their analysis based on a Price  
17 Waterhouse analysis, which actually is based on 2004 market  
18 characteristics. That is probably problematic just given  
19 how fast and how quickly this market moves. A more complete  
20 analysis would consider the impacts of the costs and  
21 benefits of the regulation, and the impacts across all  
22 markets in the state economy. This is no easy task, let me  
23 add, and so one can sort of sympathize a little bit with  
24 maybe why this back of the envelope calculation was done in  
25 its place. But, actually, we do have some evidence on this

1 in the sense that there was a recent study produced in  
2 October 2008 by Professor Roland-Holst from U.C. Berkeley.  
3 The report is entitled "Energy Efficiency, Innovation, and  
4 Job Creation in California." And let me just quote from the  
5 report one of the core findings. "Over the last 35 years,  
6 energy efficiency measures have enabled California  
7 households to redirect...", and I emphasize the word  
8 "redirect," "...their expenditures towards other goods and  
9 services, creating about 1.5 million full-time employment  
10 jobs, with a total payroll of \$45 billion, driven by well-  
11 documented household energy savings of \$56 billion." So  
12 there is at least some evidence of both historically the  
13 economic stimulus, in fact, effect often of energy  
14 efficiency measures. And in the same report, Professor  
15 Roland-Holst does also examine the suite of measures as  
16 proposed in the Scoping Plan, and those include measures  
17 such as these Codes and Standards and, again, the estimate  
18 shows substantial benefits. I think another important  
19 admission from the report are the economic impacts  
20 associated with consumers' energy cost savings from the more  
21 efficient TVs and there will be multiplying income impacts  
22 in other goods and services markets from these cost savings.  
23 And furthermore, for the TV manufacturing industry, there  
24 are likely to be economic rewards from the innovation and  
25 leadership, which the regulations are likely to induce.

1 None of these economic benefits are estimated or included  
2 in the CEA economic impact analysis. Thank you very much.

3 COMMISSIONER LEVIN: Thank you very much. If you  
4 have not already submitted the U.C. Berkeley Professor Holst  
5 report into the record, it would be very helpful if you  
6 would do so. Thank you. Our next speaker is Dave Lamb from  
7 3M.

8 MR. BARNES: Good morning. My name is David  
9 Barnes with BizWitz, a Consultancy in Display and Imaging,  
10 and I am here representing the LCD TV Association. It is a  
11 fairly broad association of companies starting with raw  
12 materials like Corning and 3M moving through the supply  
13 chain into panel makers, TV product assemblers, brands and  
14 other people, even makers of packaging materials that bring  
15 TV products to market here in the United States and  
16 elsewhere. And we recognize that the TV energy consumption  
17 is an important issue for policymakers and for consumers,  
18 and we support the strategy to reduce energy consumption in  
19 TVs, in general. We observed that most LCD TVs achieved  
20 Tier 1 energy usage levels today, and that we have to also  
21 note that the entire LCD industry is working on improving  
22 energy efficiency as we are hearing here today. The  
23 association believes that LCD TVs can achieve Tier 2 energy  
24 usage levels in 2012, with current technology, without  
25 substantial costs or premiums to the consumer. The

1 Association is concerned that the CEC approach, if not  
2 thoughtfully applied to products with additional new  
3 features could theoretically suppress innovative features  
4 and TVs which, because they add functions, may also add  
5 energy consumption. Some examples of these new ideas are,  
6 you know, Internet connectivity, teleconferencing  
7 capabilities, 3D TV, gesture recognition, facial  
8 recognition, and so forth. Although these features may add  
9 energy consumption to the TV, they could also add compelling  
10 value to the consumer, and the Commission should take  
11 appropriate exclusions or provisions to allow such products  
12 to reach the market, and I must note that I think the staff  
13 has done an excellent job of presenting the fact that the  
14 way the tests are structured today, it looks like many of  
15 these new things would be turned off, and are basically  
16 moot, you know, as we see them today. With appropriate  
17 consideration and communication, I think both ways, we  
18 believe that this issue can be addressed and that, since the  
19 test methods in the regulations would not cover the  
20 incremental energy these features consume, and they are not  
21 activated during the test. So if I could just speak as a  
22 Native Californian, I am really proud of the state leading  
23 the charge. Thank you.

24 COMMISSIONER LEVIN: Thank you very much. Mr.  
25 Barnes, could I just ask a clarifying question because I

1 thought you were expressing concern about the possibility  
2 that the proposed rule could stifle innovation of these add-  
3 on features, and yet you seem to understand from staff's  
4 presentation that they are not actually included in the  
5 standard, and that they will be turned off during the test  
6 procedure. So is the rule not sufficiently clear, as  
7 written. Is that what you are trying to say? Or -- I am  
8 not clear, actually.

9 MR. BARNES: Well, as I said at the outset, you  
10 know, the Association is fairly complex and covering a lot  
11 of stakeholders in the supply chain, and some members, you  
12 know, that we uphold recently express concern, but it is my  
13 personal opinion that our environmental subcommittee needs  
14 to do a little bit better job communicating this, and I  
15 think by working on the communication with Mr. Singh and  
16 others, Mr. Rider and others on the staff, that we can move  
17 forward.

18 COMMISSIONER LEVIN: Okay, so you do understand  
19 and hopefully will continue to communicate those add-on  
20 features you mentioned are not currently included and so  
21 innovation in those areas should not be stifled.

22 MR. BARNES: That is just a general concern of  
23 people looking forward, that television is going to become  
24 much more efficient moving forward and, of course, people  
25 are looking for other ways to differentiate the product, and

1 so I think you are going to see a lot of new features and  
2 capabilities brought into the television space over the next  
3 couple of years.

4 COMMISSIONER LEVIN: Okay, thank you very much.  
5 Has Mr. Lamb returned? All right. Mr. Jerry Koontz from  
6 TAOS, it looks like.

7 MR. KOONTZ: Good morning, Commissioners and  
8 Commission members, as well as staff. I would like to thank  
9 you for the opportunity to talk and add a few comments to  
10 the process, which I highly commend and appreciate the  
11 support of your staff in this process. I am here to  
12 represent TAOS. TAOS stands for Texas Advanced  
13 Optoelectronic Solutions, that is a tongue twister, but for  
14 short, we are a technology supplier or semi-metric company,  
15 it is about 10 years old, we spun off from Texas Instruments  
16 in the late '90s. We were the pioneer in digital ambient  
17 light sensing, things you have heard about here today that  
18 allows the display of brightness to be automatically  
19 controlled, and as a result of that, to see significant  
20 savings by as much as 30 percent in energy savings. The  
21 energy savings are something that is of interest in many  
22 parts of the consumer electronics industry. The great thing  
23 about this technology is that it has been in place for  
24 almost 10 years, in a variety of different forms. Digital  
25 ambient light sensing was first launched in 2002 by TAOS,

1 and has been used across many different parts of the  
2 Consumer Electronics Industry. So the beauty of this from a  
3 technology perspective is that it is very mature, it is very  
4 cost-effective, and some of the applications -- some of the  
5 other consumer applications where this product is being used  
6 are, you could argue, as much if not more cost sensitive  
7 than in LCTVs such as cell phones, laptops, net-books,  
8 monitors, etc. So, you know, the TV industry is getting the  
9 opportunity to take advantage of a technology that has come  
10 way down the cost curve and would impact negligibly from a  
11 cost perspective the LCTV. We are working with many, if not  
12 most of the LCTV manufacturers today. You have heard some  
13 of the comments today and some of those that were provided  
14 by Mr. Singh and Mr. Rider, which indicate that the LCTV  
15 manufacturers are moving ahead rapidly, and many of them  
16 have been doing so for many years. So working with the  
17 likes of Samsung and Vizio and LG, these folks have  
18 recognized the value that this technology brings, and I  
19 think you will see, obviously, many more manufacturers  
20 adopting this, as well. As well, one of the beauties of the  
21 technology is it looks at both plasma and LCD TVs. So, in  
22 closing, it is a technology that is here, it has been  
23 available for many years, it is cost-effective, it is  
24 mature, is certainly can deliver energy savings, and as far  
25 as additional energy savings is concerned, there is also

1 moves on the front of proximity which actually you may have  
2 heard TAOS has also developed, which can further reduce  
3 power consumption by turning the display off when somebody  
4 leaves the room, so for those folks that listen to their TVs  
5 in another part of the room, you can do that, it will turn  
6 the display off and you can save power at the same time. So  
7 I thank you for the opportunity to comment on your process.

8           COMMISSIONER LEVIN: Thank you very much. One of  
9 the most interesting and exciting parts of this rulemaking  
10 and the process that preceded it was learning about all the  
11 new technologies in development and already available, and  
12 it is very exciting, and we will try not to hold it against  
13 you that you are actually a Texas-based company.

14           MR. KOONTZ: Well, thank you. And since you made  
15 that comment, we are based in Plano, Texas, so I will give  
16 myself a --

17           COMMISSIONER LEVIN: We like innovation wherever  
18 it comes from.

19           MR. KOONTZ: Thanks again, so much.

20           COMMISSIONER LEVIN: All right. Mr. Pappanastos  
21 with Imagine Technologies.

22           MR. PAPPANASTOS: Thank you very much for having  
23 me today. I was introduced to the group just a short time  
24 ago. I read the article in the *Los Angeles Times*. I am  
25 with Imagine Designs, Incorporated in San Jose, California

1 -- Campbell, actually. And I said, that is right, that is  
2 the opportunity for us to show our technology to the world,  
3 and so I made a phone call to the Director of the old  
4 Commission, within a day people called me back. It was  
5 amazing. I have never seen a bureaucratic group that was so  
6 efficient, you know? I was just shocked and really pleased.  
7 I was talking to the very most important people within two  
8 days, invited up for a meeting within a week, and so I  
9 commend you all for being disciplined, but not bureaucratic.  
10 You will learn about that from my background. I am a  
11 follower of Dr. Deming, the famous consultant that went to  
12 Japan and his whole approach to life was to slow down so  
13 things can speed up. Well, the side of him was that there  
14 can be step functional improvements, and our technology can  
15 bring a step function improvement from 135 is the standard  
16 for the Year 2, we can take it down to 45 immediately,  
17 within a year and a half of development. Our watchword is  
18 efficient optics for LED solutions of all types of displays,  
19 not only cell phones, hand-helds, TVs, LCDs. The founders  
20 of the company are me and Brian Richardson, Brian is 14  
21 years in technology displays, 25 patents. I am 35 years in  
22 Silicon Valley, shipping reliable products such as Tandem  
23 Computers and Sun Products. So innovation. Our product is  
24 less complex, both mechanically and electrically. I brought  
25 a static version of it just for fun, so this is the product.

1 When you switch these pixels, you turn it into a display.  
2 That is one LED lighting that entire panel. And those can  
3 be shrunk down to whatever size you want them to be, and  
4 they will toggle that, and you can lift the light out. As  
5 an example of the difference, this is the display that is  
6 currently introduced in products, that is how much is  
7 blocked by the display, our light is on the left. This is  
8 just the light source I am using ours for now. According to  
9 the people that make displays, 95 percent of the light is  
10 blocked. Our technology unblocks over 25 percent of the  
11 light. The LCD on ours is in the back, it is not in between  
12 the light source and the user, the viewer. There is no need  
13 for the LCD to apportion, the light energy is 80 percent  
14 less, so the light that lights the light guide is 20 percent  
15 of the volume, which is 20 percent of the energy. We can  
16 have our backlight system that works with local dimming, in  
17 addition to this. The cost, CH2MHill which is one of the  
18 larger engineering companies in the world, we commission  
19 them to do an analysis, their numbers are as follows: the  
20 cost of our product is 46 percent less on materials, 98  
21 percent less in electronics, 54 percent less in labor, 65  
22 percent less in maintenance, total of 55 percent less cost  
23 of goods. We can bring the manufacturing of TVs back to the  
24 United States with those reductions, and bring jobs to  
25 California, right here. We have supporting evidence from

1 Optical Research Associations, a bonding company that will  
2 bond our film and our technology to the glass, they have  
3 proven it can be bonded, film making companies such as Way  
4 Front Technologies, Optical companies such as Mems Optical,  
5 and experts in electrostatic control. So the net of it is  
6 we can trade jobs, we can reduce costs, and we can bring  
7 innovation and profit back to America. And we can share it  
8 with our people across the world in whatever degree they  
9 would like to integrate it. So, again, thank you so much  
10 and I encourage you to continue. I am very proud to be a  
11 Californian.

12 COMMISSIONER LEVIN: Thank you very much. Steve  
13 Stephansen with Agoura Technologies.

14 MR. STEPHANSEN: Who takes the business card?

15 COMMISSIONER LEVIN: The gentleman on your right.

16 MR. STEHANSEN: Thank you, Commissioner, for  
17 having me, being able to speak with you today about the  
18 regulation you are looking to bring about. So Agoura  
19 Technologies is a venture capital back start-up, actually  
20 backed here locally, we have been operating out of Roseville  
21 with American River Ventures. We have been in development  
22 of a new LCD TV Energy Efficiency Film similar to some of  
23 the others we have heard about today. I guess beyond  
24 pitching the particular product that we are looking to bring  
25 about, I would like to speak a little bit more generally

1 about what I think these Title 20 regulations will do with  
2 respect to creating new technologies that actually allow the  
3 TV manufacturers to meet these requirements. So, in my  
4 estimation, the Title 20 regulations will create a demand  
5 pull for new energy saving technology development and  
6 investment. And one of the key problems with technology  
7 companies such as ours and some of the other start-ups you  
8 have heard about today is actually getting this investment.  
9 It is very very -- it has been difficult in the display  
10 industry to get investment for technologies such as ours,  
11 and the fact is that this regulation will lower the risk of  
12 investment for investors, as there will be considerably more  
13 demand for these technologies. And we should see  
14 considerably more investment in technologies such as ours  
15 and some of the ones you have heard about today, once these  
16 regulations go into effect. Specifically, with respect to  
17 what we are doing, it is an area called Polarization  
18 Recycling, it is a key technology that lowers energy  
19 consumption in every TV, or any LCD display, by 30 percent.  
20 This is largely being implemented by 3M today, 3M is sole-  
21 sourced, and I know we are going to hear from the gentleman  
22 at 3M, they have a key technology that, in our estimation,  
23 will be used in every single TV. And this polarization  
24 recycling technology, alone, is sufficient to meet the Tier  
25 2 regulations. So the 3M technology is well known in the

1 industry today, it is sole sourced and it turns out to be  
2 an expensive approach. We have a particular implementation,  
3 an improved version of it, if you will, that will  
4 dramatically lower the cost of Polarization Recycling, and  
5 to give you an idea on perhaps a 60 inch sized TV, it should  
6 take about \$60.00 of cost out of the TV, which translates  
7 into a price decrease to the consumer of perhaps \$100.00 or  
8 more, depending on the gross margin of the TV sets. So what  
9 we have heard today is that some of these technologies can  
10 be implemented at perhaps little additional costs, but the  
11 fact is, there are going to be technologies available such  
12 as ours that will actually lower the price of the TVs. So I  
13 think, in my estimation, and I have been in technology  
14 commercialization for over 30 years out of Silicon Valley,  
15 in my view these Title 20 regulations will in hindsight be  
16 viewed as not aggressive enough. We have heard about a lot  
17 of technologies today that are going to become available,  
18 but the bottom line is they can be used in aggregation. I  
19 have not heard of any technology here today that cannot be  
20 used in combination with others that can bring about energy  
21 efficiency well below the Tier 2 levels, so I think we will  
22 in hindsight view these regulations as not aggressive enough  
23 and I think we will in hindsight look back and say this is  
24 just a really really great thing in saving the energy  
25 consumption as much as possible in TVs. Thank you.

1           COMMISSIONER LEVIN: Thank you very much. Has  
2 Mr. Lamb from 3M --

3           UNIDENTIFIED SPEAKER: He is not here. He is on  
4 the WebEx and he is going to call in when you guys open up  
5 the line for those calls.

6           COMMISSIONER LEVIN: Okay, great. Thank you.  
7 Someone else must have filled out a card for him, then. All  
8 right, Mr. Cobb from McLaughlin Consulting Group.

9           MR. COBB: Good morning. Thank you for allowing  
10 us to speak today. I am Carl Cobb. I am a partner with  
11 McLaughlin Consulting. Chuck McLaughlin, who is the  
12 President, is here as well, and our third partner, Steve  
13 Jurichich, I believe, is participating over the WebEx today.  
14 The reason I wanted to speak today was to talk about the  
15 feasibility of improving power consumption and I think you  
16 have heard a lot about the technologies, and so forth.  
17 McLaughlin Consulting does technical and venture consulting  
18 for new technologies and, as part of that we do reports for  
19 clients and multi-client reports. So displays are the focus  
20 of the consultancy and particularly we have done work on LCD  
21 displays, both light management films, we have published a  
22 series of reports, multi-client reports that are sold  
23 throughout the industry, and also more recently on LED  
24 backlighting, so both of those topics address how to have  
25 more efficient displays. Up until now, until there are

1 regulations, all of these technologies were for one  
2 purpose, which was to lower the cost of production, or for  
3 maybe to add features, particular light management films.  
4 And Steve Stephansen talked about 3M has been very  
5 aggressive in this, but there are a number of companies that  
6 have entered that market for different sorts of very  
7 innovative micro-optical technologies. But they were  
8 focused on how can I reduce the number of lamps in the  
9 display and save money, because if you reduce a number of  
10 lamps, you reduce a number of inverters, you reduce the size  
11 of the power supply. With reducing power becoming an  
12 objective by itself, this is going to stimulate more  
13 innovation. I will talk about that in a moment. But right  
14 now, it has been purely a cost game, so this adds an  
15 entirely different dimension, which is a challenge to  
16 engineers and it gives them another way to optimize their  
17 product. So I think the competitive market is going to  
18 drive people very rapidly to adopt different technologies,  
19 or to focus on technologies that are available now, that can  
20 be used to reduce energy consumption. So, as I said, MCG  
21 has done a couple of studies that I will provide references  
22 to our website where you can get a summary of those studies,  
23 one on light management films and a series on LED  
24 backlighting. We have developed for that proprietary models  
25 that look at the different engineering variables, so how

1 would these different films be used, and how should they be  
2 price, and so forth. We have particularly focused on  
3 polarization recycling, the 3M is the leading one, but the  
4 wire polarizers, which Agoura makes, or cholesteric  
5 recycling, another way to do that. They improve light  
6 output by about 55 percent, which gives you a 35 percent  
7 reduction in power right off the bat. There is also micro-  
8 optical prism films, game diffusers, and together those can  
9 give you up to a 47 percent reduction. So some of these are  
10 already being used, but they are being justified only on  
11 cost reduction. Right now, these pretty much pay for  
12 themselves. And for my talk today, I looked at our model  
13 and estimated, there is a difference of four different  
14 configurations for a 46 inch TV and the difference in cost  
15 from the most expensive to the least of these different  
16 light configurations is \$7.00 in manufacturing costs, and  
17 yet the difference in operating costs for one year is  
18 \$127.00, using five hours a day, \$.14 a Kilowatt hour, same  
19 sort of calculations that have been done for the Regulation.  
20 So the problem with this is the economists would call it  
21 market failure, is that when you go into Best Buy, you see  
22 the price, you do not see the operating costs, and so the  
23 consumer is unaware that they are buying -- when you buy a  
24 gas guzzler, you find that out very quickly from the  
25 sticker, but if you buy an electricity guzzler, it is very

1 invisible and it is not priced out for the consumer. So  
2 this is going to make the consumer a wiser consumer. The  
3 other innovation that is happening is LEDs are being used  
4 for lighting and for backlighting LCDs. Right now, those  
5 are quite a bit more expensive. Somebody testified about  
6 the Samsung or the Sony devices, but they are becoming  
7 rapidly cheaper because lighting is pulling them, and TV is  
8 pulling them, and also the production volumes are going up,  
9 and output efficiency is going up. So those are too early  
10 to mandate now, but it may be too conservative and maybe  
11 they should be mandated at some future date. Also, this has  
12 applications in lighting. Finally, in addition to those,  
13 there are other LCD TV efficiencies that are there right  
14 now, dynamic backlight, local dimming, improvements in the  
15 LCD ray aperture, what is called aperture, increased color  
16 filter transmission, and in the future it maybe possible to  
17 completely eliminate color filters, which would reduce power  
18 by two-thirds by itself. So there is a lot of innovation  
19 there. This is going to spur innovation, not inhibit  
20 innovation. You know, right now, the things pay for  
21 themselves, and adding a lot of cost is not a problem, there  
22 is a large net savings to the consumer. And LED  
23 backlighting is coming along, so that is possible in the  
24 future. Thank you very much. I will provide a written  
25 copy.

1           COMMISSIONER LEVIN: Thank you very much. Mr.  
2 Sharp with Panasonic.

3           MR. SHARP: I would like to request to defer my  
4 time to CEDIA, so they could go first and maybe I could  
5 speak later if I could? It would be more appropriate for  
6 the order of the comments.

7           COMMISSIONER LEVIN: Okay.

8           MR. SHARP: Thank you.

9           COMMISSIONER LEVIN: Mr. Demple with CEDIA.

10          MR. DEMPLE: I want to thank the Chair and  
11 Committee members and staff. I am representing both CEDIA,  
12 which is Custom Electronics Design and Installation  
13 Association and Andrews Electronics, where I work, based out  
14 of Santa Clara, California. CEDIA is a professional trade  
15 organization that specializes in planning in the installing  
16 of electronic systems in the home. We represent in  
17 California 450 members, 258 of those members are what we  
18 call Electronic Systems Contractors, or ESCs, so they are  
19 actually the ones that are maybe selling, as well as  
20 integrating those systems, and they are a vital part of  
21 small business in California. ESCs sell and integrate  
22 panels above 58, as well as below 58 inches, and they may  
23 integrate them together, as well. So this becomes important  
24 because, as they are matching systems, to be able to match  
25 quality and type, the Regulations will cover both sets and

1 they do that today, and anywhere from down into small sizes  
2 all the way up to very large sizes and, like I say,  
3 sometimes together. Our 2008 CEDIA Benchmarking Survey came  
4 back with 52 percent of gross revenues for CEDIA members  
5 were associated with home theatres and media rooms, so more  
6 than half their revenue. Also, Parks and Associates Q2 2009  
7 Survey came back with CEDIA members, on average, their  
8 revenue annually dropped from \$1.8 million to \$1.6 million,  
9 and it is safe to say, with the current economic conditions,  
10 that is not going to be better during the next survey  
11 period. Flat panel displays are an integral part of the  
12 ESC's revenue model and they are the lead-in to the rest of  
13 what a ESC will do. So what they tend to do is start with  
14 what panel, and then work backwards into the rest of the  
15 system, and sometimes with the energy savings products and  
16 whatnot in that set-up. And I have a sample of one picture  
17 and this is from a company that is a member of ours in  
18 Alameda, California, that shows a set with one large set and  
19 multiple small sets in a media-type room. There is an  
20 example. So ESCs install audio-visual and entertainment  
21 systems in single-family residents, which is what ESCs have  
22 been kind of noted for, and what people think of mainly as  
23 what our members would do, but we also do multi-family  
24 units, conference rooms, schools, government buildings, a  
25 number of different environments. And, again, as I said,

1 the entry point to the homeowner is through the flat panel.  
2 Our concern on the impact is that the Regulations are going  
3 to affect our members on both sides, and as they try to  
4 integrate systems together, as we look at the Regulation,  
5 especially Tier 1, it inordinately affects the products that  
6 our members sell, and so what it does is it puts them in a  
7 situation where their differentiation in the products they  
8 are able to sell and demonstrate are not much greater than  
9 what a person can go and buy from a non-high-end dealer, a  
10 non-high-end integrator. Today, our members do many  
11 different energy savings solutions when they are doing these  
12 systems, things like we offer video calibration to make sure  
13 the set is running properly and getting the best energy  
14 usage, energy monitoring systems are set up through  
15 security, lighting controls, occupancy and motion sensors,  
16 automated window treatments, HVAC controls that can all be  
17 automated and run remotely, and our members are doing that  
18 every day. And with that, I want to thank you for your time  
19 in allowing me to comment. And take care.

20 COMMISSIONER LEVIN: Thank you very much. Ray  
21 Williams from PG&E. Now, we have three cards from CEA,  
22 Consumer Electronics Association, as well as Mr. Sharp from  
23 Panasonic. I do not know if I have the cards in the order  
24 in which you want to go. I have Bill Belt, Seth Greenstein,  
25 Doug Johnson, and then Mark Sharp. And I would also just

1 like to ask, since you have several people representing the  
2 same association, if you could try to avoid repetition and  
3 possible 20 minutes is a long time for one organization,  
4 albeit a very important one, so if you could just try to  
5 keep your comments to a summary form as other speakers have,  
6 and submit more detailed comments in writing, that would be  
7 great, especially since I think folks like me are starting  
8 to think about lunch.

9           MR. JOHNSON: Thank you, Commissioners. My name is  
10 Doug Johnson. I represent the Consumer Electronics  
11 Association. I do recognize that neither of you presiding  
12 today was present at the previous workshops where we went  
13 into a lot of these issues in great detail. But it is my  
14 pleasure to be here this morning and, given the parameters,  
15 we will keep our remarks brief, but we do want to cover a  
16 number of major points. We do plan to submit written  
17 comments for the record and cover some of the points in  
18 those written comments this morning. Voluntary efforts are  
19 succeeding without regulation, as the evidence clearly  
20 shows. Energy Star compliance, coupled with innovation, and  
21 the advances you have heard about this morning, as well as  
22 new initiatives led by the utilities with regard to rebates  
23 are serving to achieve, to meet, and to exceed goals  
24 regarding energy efficiency and certainly support the  
25 broader goals of emissions reductions that the state has.

1 The core concern here really has to do with the element of  
2 the Commission's proposed regulations that would impose a  
3 mandatory power consumption limit on televisions. Such  
4 regulation undercuts innovation, it does harm consumers,  
5 ultimately, and it certainly harms TV manufacturers in  
6 related industries. The CEC's Regulations wrongly assume  
7 the accuracy of flawed out of date stakeholder studies. The  
8 Commission staff is relying on old data and is making  
9 unknowable projections through the year 2022. There is no  
10 account of successes already achieved through industry  
11 innovation, or, for that matter, through Energy Star Program  
12 compliance. The result is that the CEC staff grossly over-  
13 estimate the potential energy savings of their proposed  
14 regulation. We recognize the power factor correction is an  
15 element of the proposed regulations, but believe it is  
16 unjustified and not required, particularly in light of the  
17 CEC staff's and the USEPA's own acknowledgement that power  
18 factor correction generally has nothing to do with energy  
19 efficiency or saving energy in products. As you will hear  
20 about from my colleagues, the Commission's regulations do  
21 bear significant cost for consumers, also would impact  
22 innovation in our industry, and also would impact the local  
23 California economy. The losses to the state, in our view,  
24 certainly outweigh any speculative benefits of the proposed  
25 regulation, over the voluntary and market-oriented measures

1 that are already underway. Commissioners, there is a  
2 better way to achieve the state's goal of emissions  
3 reductions for this industry sector. We urge you to work  
4 with the Association, with our partners, our members, which  
5 include manufacturers and retailers, to educate consumers  
6 about energy savings and opportunities with televisions, to  
7 teach consumers to reduce energy use, certainly to monitor  
8 market innovations to reduce energy consumption. There is  
9 one element of the Commission's proposal that we have agreed  
10 with for a long time, and that is the requirement that all  
11 TVs sold in California, for all TV manufacturers to report  
12 the power consumption information related to their sales of  
13 TVs in California. That body of data would help us all  
14 certainly monitor the market going forward. As I mentioned,  
15 the core concern is that regulation stifles innovation and  
16 the approaches taken with these regulations. There is a  
17 long history of innovation in the digital TV market,  
18 certainly starting with high definition CRTs, moving to  
19 plasma televisions, DLP, LCD, you have heard these  
20 technologies mentioned. We have OLED right around the  
21 corner, certainly in larger screen size, and then we simply  
22 do not know what is going to take place in this industry in  
23 2011 and 2013, and certainly 2022. Innovation in our  
24 industry, in the television market, boosts other markets in  
25 demonstrable ways. I would include retailers, installers of

1 products, broadcasters, and the motion picture industry,  
2 television production, as well as professional and  
3 commercial users of flat panel televisions. It is very  
4 clear that consumers want innovative features in televisions  
5 and our data and our research at CA shows that price and  
6 features are the number one consideration of consumers in  
7 buying TVs. Energy savings is indeed important, but it  
8 ranks number five on this list, and certainly would never  
9 replace either price or features in the list of important  
10 qualities. Innovation requires early success. Early  
11 adopter consumers in our industry are crucial to product  
12 development and investment. Those people who buy those  
13 first model televisions of the new technology that come out  
14 are very important in creating the volumes necessary that  
15 will support the revenues, and further innovation to develop  
16 more efficient technologies and products that meet  
17 consumers' demands. You can take a look at the market path  
18 of OLED technology, plasma displays, DLP or LCD technology,  
19 and see that those technologies have been the result of many  
20 years of research and investment, and trial and error to get  
21 where we are today. Product development requires  
22 flexibility, not regulation. Product development requires  
23 time, not timetables. Regulations can essentially bind a  
24 feature none of us can see. Digital TV technology is just  
25 beginning, we are still in the early days, and neither the

1 CEC nor the PG&E, nor CEA, nor anybody in this room knows  
2 the feature or impact of new display technologies in this  
3 highly dynamic and innovative industry. Given the fast pace  
4 of innovation over the past five years, no one can predict  
5 what the market will be in 2013 to 2022, four to 12 years  
6 into the future. Regulations do risk stifling innovation  
7 and, again, the core concern here is the Commission's focus  
8 on mandated power consumption limits in its proposal. We  
9 certainly see this as based on a lack of evidence and  
10 justification. We do know that this would even pose risks  
11 for the existing technologies if CEC regulations had been in  
12 place in 2001, there would be no plasma TV introduction, no  
13 LCD TV introduction the way that we have seen it, no money  
14 resulting from the sales of those televisions to fund future  
15 R&D investment, and no demand by consumers for those early  
16 products, but, again, yielded benefits on down the road.  
17 That is what we know, looking back. What happens to the  
18 next DTV technology? In concluding, you will hear in a  
19 moment from my colleagues about the alternatives that we  
20 have talked to the Commission about, that again can support  
21 the broader goals. We believe the industry supported  
22 alternatives can save as much or more energy than the  
23 mandated limits on televisions. In other words, we can  
24 achieve equal or better energy savings without the negative  
25 economic or technological impacts of the Commission's

1 current proposal. It was mentioned earlier, this apparent  
2 contradiction in industry claiming that it is already  
3 achieving energy efficiency, and the concern we have about  
4 negative economic impacts. I do not think there is an  
5 inherent contradiction there. We are striving toward a goal  
6 that we all agree with, it is just a question of what is the  
7 most appropriate path for the high tech industry given that  
8 you are now focused on the electronics sector as opposed to  
9 wholly unrelated sectors to which you have applied these  
10 regulations previously.

11 COMMISSIONER LEVIN: Mr. Johnson, I am sorry, I  
12 have given you well over five minutes. In fairness to other  
13 speakers, and because there are several more speakers that  
14 come from CEA, just to let you know at some point there is a  
15 cumulative total, so if you want to continue and the  
16 following speakers from CEA could shorten their remarks to  
17 compensate, that would be very helpful.

18 MR. JOHNSON: I was just a few words from wrapping  
19 up, but I think I can leave it at this point. In other  
20 words, the goal is very clear, it is something we all  
21 support, energy efficiency and helping you to meet the  
22 state's AB 32 goals. The question is what is the right path  
23 to get here? It is not in the Commission's current  
24 proposal. Thank you.

25 COMMISSIONER LEVIN: Well, having just asked you

1 to be brief, I do have a follow-up question and it is  
2 exactly on your last point. You did say several times that  
3 the proposed rule would stifle innovation, but you began by  
4 talking about all of the innovation that is coming from the  
5 industry, so I am having a hard time reconciling those two  
6 statements. Could you please be very specific in answering,  
7 how far do you expect voluntary innovation to get us in the  
8 same time period as a proposed rule in terms of actual  
9 energy savings, and what is the difference from what we are  
10 proposing?

11 MR. JOHNSON: Again, in the interest of time, I  
12 think my colleagues will be responding to that point.

13 COMMISSIONER LEVIN: Okay.

14 MR. JOHNSON: Thank you.

15 COMMISSIONER LEVIN: Thank you. Next then, we  
16 have -- well, I will let you choose who is coming next,  
17 either Mr. Bill Belt, or Mr. Seth Greenstein.

18 MR. BELT: Bill Belt, thank you.

19 COMMISSIONER LEVIN: Thank you.

20 MR. BELT: Good morning. I am Bill Belt from CEA.  
21 I am in the Tech and Standards Department at CEA. Like Mr.  
22 Singh and Mr. Rider, I am an electrical engineer there. I  
23 work closely on technology issues and standards issues. And  
24 as Doug sort of just alluded, I want to talk about some of  
25 the voluntary measures that we know consumers and

1 manufacturers can and currently are taking, and what those  
2 savings are going to achieve. First, let me say that  
3 somebody has already included in the proposed regulations,  
4 actually, at our insistence when we began talking a couple  
5 years ago, I think, on this topic, and many of these present  
6 opportunities for this Commission as it moves forward to  
7 produce regulations that are imposed on the functional  
8 requirements of TVs, rather than what we are talking about  
9 today, which is on the total energy use of a TV. I will  
10 start with the most obvious and where we spent the most time  
11 today anyway, which is on the Energy Star Program, which as  
12 everybody here agrees, and strongly suggests, has been  
13 wildly successful, there are at least 1,200 TVs today that  
14 are Energy Star 3.0 compliant. There is a path forward for  
15 Energy Star 4.0 and 5.0, which ever increase the amount of  
16 efficiency being drawn out of TVs. Compliance with that  
17 program has happened completely voluntarily, 1,200 TVs  
18 completely voluntarily. We recognize the enormous value in  
19 that logo and want that logo attached to our TVs and will  
20 work hard to get to it, and that is clear that is exactly  
21 what has happened. If you compare Energy Star data from  
22 December 2007 to now, October 2009, you will find that there  
23 is a 29.3 percent average power savings weighted across all  
24 sizes. That translates into a 41.4 percent energy  
25 improvement over that time period. Some of the other things

1 we talked about and some of these already appear today in  
2 the proposed regs are these forced menu functionality,  
3 forced menus, when you bring your TV home, you are sort of  
4 drawn through a series of steps to put your TV into what is  
5 the right viewing mode for a home, which is obviously  
6 different than the viewing mode you would see, let's say, at  
7 a Best Buy, or some other place with very bright lighting.  
8 We believe that alone could save 47 GWh annually in energy  
9 savings. One manufacturer states that, for their sets,  
10 their load on the sets actually is approximately a 25  
11 percent savings reduction. Automatic bright controls and  
12 other features, we have heard it talked about in several  
13 different ways, but these are light sensor controls on your  
14 TVs that allow your TV to adjust to the appropriate viewing  
15 conditions in its location in its room where it happens to  
16 be. It has been at least two years and many millions of  
17 dollars to develop, so far. There is a lot of space left  
18 for more development there. We have manufacturers telling  
19 us that it might bring us 10 to 15 percent in savings.  
20 Today we heard from TAOS saying their solution would bring  
21 maybe as much as 30 percent in savings for automatic  
22 brightness control. Auto on-off, auto power down, we have  
23 heard it used many other terms, we estimate that that is  
24 going to bring 90-145 GWh of estimated annual savings for  
25 just that feature alone. As we heard Vizio today, that

1 would have to be very carefully crafted to make sure that  
2 we do not confuse or somehow harm a viewer's experiences,  
3 but if it was carefully crafted, if we allowed the right  
4 amount of time, if we did it properly, we suggest that 90-  
5 145 GWh per year could be saved. Finally, and probably most  
6 importantly in this, this actually runs sort of through  
7 almost every presentation today, it is all about consumer  
8 education, consumer education. We believe in energy use  
9 disclosures. I want to point out that is different than  
10 what the report says, the reports says that we are  
11 supporters of energy labeling on products, we are not  
12 supporters of energy labeling on products. That is one  
13 possible way you might disclose energy use, it is not the  
14 only way to disclose energy use. I am not sure if it is the  
15 best way, or not the best way, it may be. But people go to  
16 other places, to many places, for their information. For  
17 example, they go to *Consumer Reports*, or they go to the Web,  
18 or they go to other locations, so I am not sure that a label  
19 on the TV itself is necessarily the best solution. But  
20 either way, we support the FTC's -- Federal Trade  
21 Commission's -- current activity looking into that, the best  
22 solution and the best information, and we would hope that  
23 California would support that also. We heard from Tim  
24 Michels at PG&E about his very successful incentive program.  
25 We estimate that would save about 10 GWh per year. It is a

1 voluntary program or there are supporters of it. As Doug  
2 mentioned a minute ago, we know that voluntary efforts work.  
3 We think the best way to compare apples and apples and  
4 oranges and oranges across the various figures that we have  
5 seen today is to compare the short term figures. I do not  
6 think it makes any sense, I do not think anybody thinks it  
7 makes any sense to try to project what is going to happen in  
8 2022, as we have seen done today. If we take short term  
9 comparisons, we are suggesting that you can save about 960  
10 GWh per unit of short term. That compares very favorably to  
11 what your or the CEC Staff Report says could be saved in the  
12 short term. We will get all these figures on file with you  
13 guys before the public comment period is closed. And we  
14 think, again, sort of in conclusion, we think that doing the  
15 things we have mentioned here today, things that we have  
16 mentioned in the best, data that have often been overlooked  
17 by the report, can indeed save more and do so in a way that  
18 is incentivizes manufacturers to move quickest toward energy  
19 efficiency.

20 COMMISSIONER LEVIN: Thank you, Mr. Belt. We  
21 would appreciate seeing those figures and also whatever  
22 supporting materials and analytical work was used to derive  
23 the figures. You and Mr. Johnson mentioned Energy Star and  
24 several other speakers have, as well, and it is certainly a  
25 program we are very supportive of here at the Energy

1 Commission. Again, though, I am a big confused, though,  
2 as to your strong support for it. Are you suggesting that  
3 that is actually the standard that we should use for our  
4 proposed rule?

5 MR. BELT: We strongly support a voluntary program  
6 that was written and participated in by stakeholders in an  
7 open and transparent process.

8 COMMISSIONER LEVIN: Okay, but it is a program  
9 that you understand approximately 25 percent of television  
10 meet, or will meet in the coming years? I mean, it is not a  
11 program that --

12 MR. BELT: You are speaking of your program? I  
13 will tell you, we heard today something like 290 TVs meet  
14 the Tier 2 specs, I think the number -- I forget the exact  
15 number -- it is important to note that Ken used the exact  
16 correct terminology -- 290 TVs, or whatever the number was,  
17 will meet -- 297, I think, might be the number -- meet one  
18 aspect of the Tier 2 aspect, they meet the on mode power  
19 requirement of the Tier 2 spec. I do not know, I have no  
20 sense how many meet some of the other requirements. I do  
21 not know, for example, how many meet the luminance  
22 requirements, nobody here knows that. That information is  
23 not being reported.

24 COMMISSIONER LEVIN: But my question is, you are  
25 not actually proposing that we simply adopt the Energy Star

1 requirements, or Energy Star provisions as the standard,  
2 correct?

3 MR. BELT: No. We are suggesting that you support  
4 Energy Star Program through an educational campaign that  
5 would encourage consumers to replace their current TV and to  
6 stock their TVs at the quickest rate possible for new energy  
7 efficient TVs.

8 COMMISSIONER LEVIN: Okay. I think we would  
9 absolutely welcome more information from you and the  
10 industry about which forms of consumer education really do  
11 make the most difference. It is an area that we agree is  
12 very very important, and we are looking for data on which  
13 methods really have the biggest impact, which strategies  
14 will get us there.

15 MR. BELT: Terrific, thank you.

16 COMMISSIONER LEVIN: Mr. Greenstein from CEA. And  
17 Mr. Greenstein, I would just like to note, your colleagues  
18 have already spoken for almost 20 minutes, so if you could  
19 try to be brief, please.

20 MR. WAZZAN: That is him over there.

21 COMMISSIONER LEVIN: Take that up with them.

22 MR. WAZZAN: I am Paul Wazzan with LECG. And I am  
23 the author of the --

24 COMMISSIONER LEVIN: I am sorry, is Mr. Greenstein  
25 not going to speak?

1 MR. WAZZAN: He is going to go next.

2 MR. GREENSTEIN: As far as a logical order, I  
3 think it makes more sense for Mr. Wazzan to go first.

4 COMMISSIONER LEVIN: Okay. I just want to make  
5 sure I have a card, I do. Thank you. Mr. Wazzan.

6 MR. WAZZAN: Hi, good morning, Commissioners. I  
7 am Paul Wazzan with LECG. I am an economist. I wrote the  
8 Economic Impact Report that was submitted earlier by the  
9 CEA. That report has been criticized today. I disagree  
10 with most of those criticisms, however, I have taken them to  
11 heart, and I will be submitting a revised report by November  
12 2<sup>nd</sup>. What I would like to do in just a few minutes, though,  
13 is give the Commission a brief preview of what that report  
14 will contain. It is my understanding that the Commission is  
15 constrained not to pass regulations that impose costs on the  
16 consumers; in other words, the regulations must be consumer  
17 net neutral. Where the rubber meets the road from the Staff  
18 Report is the \$8.1 billion figure, setting aside impacts to  
19 innovation. As long as that number is projected to be \$8.1  
20 billion and is positive, one could possibly say that the  
21 consumers have not been negatively affected. If that number  
22 was negative, then you would have to conclude that consumers  
23 were impacted negatively by the proposed regulations. The  
24 \$8.1 billion figure is predicated based on a number of  
25 assumptions in the PG&E Case Report. Let me just address a

1 few of them to give an illustration of how they impact the  
2 number. First of all, there is a mathematical calculation  
3 error in their analysis. If you fix that error, the \$8.1  
4 billion number drops to \$4.9 billion, and that is without  
5 changing anything in their model other than fixing an  
6 arithmetic error. The next fundamental assumption that they  
7 have used is a 3 percent discount rate; that is much lower  
8 than any estimated homeowner's cost of capital, you have to  
9 discount those future savings at the appropriate rate. If  
10 you do that, you further reduce the \$4.9 billion down to  
11 \$2.9 billion. The next fundamental assumption is that their  
12 baseline savings are predicated on 2007 data. They assume  
13 that by 2022, no improvements have been made due to  
14 competition in televisions, which must be factored in. If  
15 you factor in any level of improvement that is reasonable,  
16 and we know that from 2007 to today, there have been some  
17 improvements and that it is reasonable to expect additional  
18 improvements between 2009 and 2022, the rest of the savings  
19 are effectively eliminated. A lot of people have stood up  
20 here today to indicate that great technologies are coming, a  
21 lot of innovation has taken place, a lot of improvements  
22 have taken place. Two panels were provided that showed the  
23 power consumption of the better TV was actually lower, and I  
24 think the price was lower. I totally agree with that, there  
25 is no question innovation has taken place in the absence of

1 regulation. That kind of improvement is not factored into  
2 the Staff Report, and I think it is critical. Lastly, once  
3 you have eliminated all these savings, there are still costs  
4 to be considered, cost to innovation. But also, I think the  
5 gentleman from Vizio indicated it was tens or hundreds of  
6 dollars to implement the necessary steps to comply with the  
7 regulation, then that would certainly drive the number into  
8 the negatives. Thank you. And I will submit that in  
9 writing in my report.

10 COMMISSIONER LEVIN: Thank you. Now, Mr.  
11 Greenstein?

12 MR. GREENSTEIN: Thank you, Commissioner. My name  
13 is Seth Greenstein. Picking up on some of the points we  
14 just articulated, while the presentation that was made by  
15 the staff today included a lot of up to date information  
16 concerning Energy Star compliance as of October 2<sup>nd</sup>, 2009,  
17 the fact of the matter is that the findings that are in the  
18 Staff Report are based on old data from July of 2008, that  
19 were created by PG&E in its Case Report. And why is that  
20 significant? It is significant because it does not take any  
21 account whatsoever of Energy Star compliance and voluntary  
22 efforts already made by the industry. When you look at the  
23 tables that have the basis of the data at the end of the  
24 Case Report, that is relied upon by the staff, they admit  
25 their tables and estimates do not account for national

1 market improvements over time in the baseline, or for  
2 improvements in the adoption of higher efficiency models.  
3 They agree that the plasma data is not necessarily  
4 indicative of performance for all plasma TVs on the market.  
5 That case study was basically created using older data,  
6 three months before Energy Star 3.0 took effect. And what  
7 does that mean? It means that the savings that are  
8 potentially identified by the report are over-estimated. It  
9 means that it understated the costs of compliance. And it  
10 overstated the degree of the problem, to begin with. And  
11 certainly, to the extent that PG&E came forward with  
12 recommendations in this Case Report, based on that flawed  
13 and out of date data, the Commission's proposal to go even  
14 further with more stringent standards does not have any  
15 basis in the data that is relied upon in the Staff Report.  
16 Another fundamental feasibility error is that it assumes  
17 that technological differences among technologies really do  
18 not matter. But plasma, LCD, DLP, OLED, they all have  
19 different characteristics, they all consume power  
20 differently, they all use power differently, and the ability  
21 to comply with regulations, a one-size-fits-all regulation,  
22 varies for each technology. A brief mention on power factor  
23 correction. Both the CEC Staff Report and the Energy Star  
24 website note that power factor correction devices may  
25 improve power quality, but it does not generally improve

1 energy efficiency, and it means that it will not decrease  
2 in any way, shape, or form a consumer's energy bill. We  
3 think the power factor correction regulation is for that  
4 reason unnecessary and, in fact, a mistake. With respect to  
5 the costs, the fact is that energy savings for TVs come at a  
6 cost. Manufacturers have invested tens of millions of  
7 dollars in research and development, and manufacturing  
8 changes, personnel training, etc., Energy Star 3.0 did not  
9 happen overnight, it was the result of four years of prior  
10 effort by the industry. Let me give you a couple of  
11 examples on TVs. Take a look at an LCD TV that has the HCFL  
12 energy savings of backlights versus CCFL lighting. For the  
13 same size TV display, the panel with HCFL costs 32 percent  
14 higher, the electronics are 10 percent higher, the price of  
15 the TV is \$200.00 higher, which is about 12 percent more.  
16 The annual energy savings from that particular TV -- \$8.16  
17 per year. So if you look at the cost of consumer over 10  
18 years and back off the present value, it comes to a net loss  
19 to the consumer of about \$128.31. Now, the manufacturers  
20 are the ones who are actually absorbing the loss, for  
21 example, you take two equivalent LCD models, one with CCFL,  
22 one with HCFL, the energy saving technology that is higher  
23 priced. HCFL sales of that unit were 77 percent lower than  
24 the cheaper priced CCFL unit. The manufacturer was forced  
25 to lower its price just to sell them off the shelves and get

1 it out of inventory at significant lost profits which need  
2 to be used for R&D capital for additional improvements into  
3 technology. And in the report itself, the Staff Report  
4 ignores evidence that was previously submitted to the record  
5 concerning energy saving technologies that cost more. So,  
6 for example, Best Buy in its January 19<sup>th</sup>, 2009 comments  
7 noted they saw a \$167.00 higher price for energy saving TVs  
8 over the comparable more popular models. The Energy Star  
9 findings that are sited in the Staff Report show not that  
10 the cost is neutral, but rather that the models that are  
11 Energy Star compliant cost as much as \$400.00 more, or 40  
12 percent higher than the more popular comparable television.  
13 The fact is, TVs are not the same as toasters. You cannot  
14 regulate them the same way. They are not utilitarian  
15 appliances, they are central to the home, they are the  
16 electronic hearth, consumers gather there for entertainment,  
17 for education, for information, and the performance counts  
18 in those televisions. Consumers see the difference among  
19 televisions and among technologies. They should be entitled  
20 to choose their own winners and losers based on a number of  
21 factors. They should have information about energy savings,  
22 they should factor that into their decision making, however,  
23 consumers should have the right to choose based on all the  
24 factors and CEC should not pick winners and losers based  
25 solely on a single factor. Thank you.

1           COMMISSIONER LEVIN: Mr. Greenstein, I have to  
2 ask you kind of a similar question because, I am sorry, now  
3 having heard from four representatives from the industry, I  
4 am still confused as to what appear to be contradictory  
5 positions, that voluntary standards work, you like Energy  
6 Star, and yet you were just saying that Energy Star is as  
7 much as \$400.00 more expensive. I do not understand how you  
8 are trying to reconcile -- we are somehow going to stifle  
9 innovation, and yet you are doing all these great  
10 innovations, and just in the past year since the study that  
11 are staff relied on came out, there have been all these  
12 additional great innovations, and yet you cannot meet the  
13 standards without serious price impacts, consumers will not  
14 want it, and yet voluntary labeling and other voluntary  
15 education, where it just seems like a contradiction here  
16 that I cannot quite reconcile. I am hoping you can clarify  
17 briefly how to reconcile.

18           MR. GREENSTEIN: Let me try to pull this together  
19 for you, for Mr. Johnson through to myself, and it is  
20 actually, I think, summarized well by a quote that I heard  
21 yesterday from one of the inventors of plasma displays which  
22 is that you cannot schedule invention. Innovation takes  
23 time. It is something that you cannot say has to happen by  
24 a particular date without other consequences. As Mr.  
25 Johnson noted, if these regulations had been in place back

1 in 2001, when CRT was the primary technology, plasma  
2 televisions could not have been introduced into the  
3 marketplace because they could not meet the standards. LCD  
4 could not have been introduced into the marketplace. And  
5 yet these are very popular technologies today that are  
6 bringing a lot of value to consumers. What we are saying is  
7 that, with voluntary compliance, manufacturers can meet the  
8 targets over time, managing the cost impact, and yet not in  
9 any way impeding innovation. They can bring you  
10 technologies to the market, they can get the early profits  
11 from them, and they can work on bringing new features into  
12 those products, manufacturing efficiencies, bringing the  
13 cost down, along with working on energy compliance. But  
14 those things do not happen off the bat, they do not happen  
15 from the start, it takes time. And by allowing it to  
16 proceed as a voluntary program, that has shown very  
17 significant results today, more than 1,200 televisions  
18 comply with Energy Star today -- ahead of schedule. By  
19 allowing it to happen on a voluntary basis, we can achieve  
20 those energy savings, and we can achieve energy savings  
21 through the other voluntary measures that Mr. Belt talked  
22 about and that we will supplement in our report. But it is  
23 not going to happen by a regulation that says you cannot  
24 market a particular product or bring a new product to market  
25 in California if it does not meet a particular standard from

1 the very first day it is available. That is not going to  
2 work.

3 CHAIRMAN DOUGLAS: Mr. Greenstein, Commissioner  
4 Levin has given CEA a remarkable amount of time here --

5 MR. GREENSTEIN: For which we are grateful.

6 CHAIRMAN DOUGLAS: -- I just want to point out  
7 that we have requested data from CEA in December of 2008, in  
8 March of 2008, in June of 2008, and you have given us  
9 nothing, and so I am not particularly receptive to you  
10 standing here complaining that we are not relying on your  
11 data. We have asked for your data and asked for it and  
12 asked for it. I wanted to just make that point clear. We  
13 appreciate your engagement in this workshop today. It would  
14 have been -- we would have appreciated your further  
15 constructive engagement in this entire process, but again,  
16 if you -- you have a limited amount of time remaining to, in  
17 fact, submit additional data. We have made data requests to  
18 CEA repeatedly. And the docket is open. You are welcome to  
19 submit it.

20 MR. GREENSTEIN: We will submit additional data.  
21 Thank you very much.

22 COMMISSIONER LEVIN: You can go ahead and sit  
23 down. I do want to make one additional comment. And I  
24 guess one last time, we will ask CEA, please, to respond,  
25 but in writing. I continue to hear almost back to back

1 contradictory statements that do make it hard for us to  
2 take what you are saying into account in constructing a rule  
3 that achieves the energy savings and not only allows for,  
4 but actually encourages innovation. And we have heard from  
5 a number of speakers earlier this morning talking about all  
6 the ways in which we are innovating and, in nearly the same  
7 breath, Mr. Greenstein, you said you have made all these  
8 strides very very quickly, and yet you cannot possibly meet  
9 the rule in time. And we hear a lot of those  
10 contradictions, that are not helpful to us in constructing a  
11 cost-effective rule that encourages innovation and reduces  
12 energy consumption, it just does not compute when you say  
13 innovation is happening so so so so quickly, you just let  
14 the voluntary labeling and other programs proceed, and yet  
15 you cannot possibly meet the rule in time, and it will wreak  
16 havoc with the industry. If there is a way that you can  
17 actually explain that and give us data, I am not sure how it  
18 is possible since those really do appear contradictory, but  
19 if you can, please do by November 2<sup>nd</sup>. But I have to say,  
20 your comments so far continue, to me, to appear  
21 contradictory. And we are struggling to make this a very  
22 workable, successful rule. We need data from you. As the  
23 Chairman has said, we have asked for it repeatedly, these  
24 sorts of contradictory statements are not data, they do not  
25 help us to fashion the best rule we can for California. So

1 with that, are there anymore -- oh, I am sorry, I did not  
2 even finish the last -- Mr. Sharp from Panasonic, you have  
3 been very patient.

4 MR. SHARP: I promise to be very concise with my  
5 comments. My name is Mark Sharp. I represent Panasonic. I  
6 want to address a couple comments that have been made by  
7 several individuals, including my colleague and friend, Noah  
8 Horowitz, comparing refrigerators and flat panel TV energy  
9 consumption. It is a great sound bite the news medias  
10 picked up on it, there is just one problem, it is wrong, it  
11 is inaccurate. Let me give you an example. Number one, we  
12 need to consider refrigerators are -- when you see energy  
13 information on a refrigerator, it is always presented in  
14 terms of watt hours per year, and that reflects the usage  
15 pattern, and the refrigerator is used 24/7. That contrast  
16 with a television for the usage pattern is anywhere from  
17 five, to six, to seven hours a day, and the rest of the time  
18 it is off. And that is why TV energy usage is normally  
19 expressed in terms of watts. It is very different, it is an  
20 apples to oranges comparison. Now, let's look at comparison  
21 -- I think Noah's comment was that many TVs use as much  
22 energy, if not more, than 18-21 cubic foot refrigerators.  
23 Again, that is not an accurate statement. Let me give you  
24 an example. A 42 inch Panasonic plasma television, current  
25 model year, uses between 285 and 318 kilowatt hours per

1 year. A refrigerator that I had looked up before coming  
2 here, a Maytag side by side refrigerator that happens to be  
3 22 cubic feet, it is not necessarily a large refrigerator,  
4 would classify as mid-size, uses nearly double the amount of  
5 a 42 inch plasma TV at 537 kilowatt hours per year. In  
6 fact, a more apt comparison would be comparing a 42 inch  
7 plasma TV with a 2.9 cubic foot micro-refrigerator that you  
8 would see in a kid's dormitory room. That would use, an  
9 example I looked up just last week, 290 kilowatt hours per  
10 year. So, in fact, that is comparable to a 42 inch plasma  
11 TV, not a much much larger refrigerator. As you scale up  
12 into larger TVs, of course, the gap would narrow, but here  
13 is another comparison, a 50 inch Panasonic plasma TV,  
14 current model year, uses between 385 and 492 kilowatt hours  
15 per year. A 25 cubic foot Whirlpool side by side with  
16 icemaker, which in terms of features set, that would be  
17 comparable to a 50 inch plasma that we make, that would use  
18 571 kilowatt hours per year. So, again, we are talking  
19 about a differential of 150-200 watts more for the  
20 refrigerator. So I guess the point I just wanted to leave  
21 with you is, in fact, that these comparisons that new flat  
22 panel TVs use as much, if not more energy, than a  
23 refrigerator, is just an inaccurate comparison, and I know  
24 it has been repeated many many times, but I wanted to give  
25 out some current data to show what the accurate numbers are.

1 Thank you.

2 COMMISSIONER LEVIN: Thank you. We have three  
3 more blue cards. If anyone else who is present in the room,  
4 or Hearing Room B, I do not know if people ended up there or  
5 not, would like to make public comment, please submit a blue  
6 card and then we will turn to anyone who has managed to hang  
7 on the phone this long. I appreciate anyone who has.  
8 Bernadette Del Chiaro with Environment California.

9 MS. DEL CHIARO: Thank you, Commissioners. My  
10 name is Bernadette Del Chiaro. I am with Environment  
11 California, we are a statewide nonprofit environmental  
12 advocacy organization with over 200,000 dues paying and e-  
13 activist members in the State of California. HDTVs are  
14 rapidly becoming the Hummers of the home, wasting consumers'  
15 money and putting increased pressure on the state to build  
16 polluting and unnecessary power plants. It is high time  
17 that the State of California take on the Fred Flintstones of  
18 the TV industry and bring this technology into the 21<sup>st</sup>  
19 Century, help us save money, and help us protect our  
20 environment and meet all of our environmental goals. It  
21 would be foolish for California to continue to put new goals  
22 on the books with regards to renewable energy, with regards  
23 to solar roofs, and with regards to making our homes more  
24 energy efficient from the built environment perspective,  
25 while continuing to load up our homes with ever energy

1 guzzling appliances such as wasteful television sets. I  
2 want to make one other comment, which is the CEA has  
3 suggested that we, instead of doing standards, simply do  
4 labeling and consumer education. This is the sort of logic  
5 that can only come from sort of a TV log-on hand. The CEA  
6 themselves have suggested in their testimony today that,  
7 when a consumer walks in the door to Best Buy, or where have  
8 you, the efficiency of a TV is not their top priority.  
9 While important, the brand and the quality of the picture is  
10 number one. That is the evidence alone, all the evidence  
11 you need, to rest on your decision on making it apply in  
12 these standards and making them across the board in  
13 California. So we are here in strong support and we urge  
14 you to move quickly in adopting these standards so we can  
15 move on to Level 3 and other appliances that continue to  
16 need our support. Thank you.

17 COMMISSIONER LEVIN: Thank you. Lauren Navarro  
18 from EDF.

19 MS. NAVARRO: Good afternoon, Commissioners. My  
20 name is Lauren Navarro with Environmental Defense Fund. I  
21 am also a TV watcher. I am here to thank you for proposing  
22 the standards for televisions that will save consumers  
23 money, cut energy use, and reduce global warming pollution  
24 and to urge their adoption. We need to harness all energy  
25 efficiency opportunities as the state develops a

1 comprehensive plan to meet the goals of our landmark  
2 global warming solutions bill of 2006. By proposing smart  
3 regulations that conserve electricity, drive industry  
4 innovation, and are a win-win for our economy and our  
5 environment, California is again creating a model for the  
6 nation to follow. TVs account for 10 percent of household  
7 electricity and their energy consumption rate is increasing  
8 8 percent annually. I just do not want us to lose sight of  
9 that as we go through some of these comments that we have  
10 heard earlier. Improving energy efficiency is the easiest  
11 and most cost-effective way to cut pollution and save  
12 consumers and businesses money. If adopted, these standards  
13 will save consumers \$50.00 to \$250.00 a year in utility  
14 costs over the life of their TVs. That translates into a  
15 statewide total household savings of nearly \$1 billion a  
16 year and an estimated \$1.1 billion a year over a 10-year  
17 period. Your analysis also shows that these standards can  
18 be readily met by industry at no additional cost. There is  
19 no reason to not adopt these standards. Because these  
20 regulations will reduce pollution and save consumers money,  
21 we urge the Commission to adopt them without delay. If we  
22 wait and see what happens without these standards, we risk  
23 losing these benefits for California. Thank you very much.

24 COMMISSIONER LEVIN: Thank you very much. We have  
25 two final blue cards at this point, Mr. Williams from PG&E.

1 He may have been on of the people who is on the phone.

2 And Spencer Gusick from TiVo.

3 MR. GUSICK: Thank you. I will try to keep it  
4 brief. Since we are a local California company, we wanted  
5 to come down and speak. Hopefully most of you have heard of  
6 TiVo. We are a homegrown success story. We have made a  
7 product that has managed to be one of the most popular and  
8 beloved electronic products in recent years, while at the  
9 same time constantly struggling for economic viability as a  
10 company. And one of the concerns that we had, and I was  
11 going to keep silent, but after hearing Mr. Greenstein  
12 speak, I just wanted to speak generally to is the balance  
13 between when is it good for California to regulate  
14 something, as opposed to allowing market forces to take  
15 their course. TiVo employs 500 people in Silicon Valley.  
16 We have attracted talented men and women from all over the  
17 world because they want a chance to work at a company like  
18 ours where innovation is possible. Now, what Mr. Greenstein  
19 said is, when you have a market force that is driving  
20 customers towards purchasing decisions, they are able to  
21 make informed decisions and have a variety of factors that  
22 play into their purchasing issues -- the purchasing  
23 decisions. There are times when companies innovate quickly,  
24 there are times when companies innovate slowly, a lot of it  
25 really depends on the economic viability of a product. We

1 are working very hard in a voluntary fashion to make our  
2 products economically energy efficient. In fact, I am  
3 pleased to say that our newest product that is coming off  
4 the line is going to have an Energy Star symbol on it, and  
5 we are going to continue working as the course of this  
6 important level of economic concern grows. However, as  
7 companies start out, they are not always as economically  
8 able to meet these challenges. If these kind of energy  
9 efficiency standards were imposed 10 years ago, TiVo might  
10 never have been an economically viable product. When we  
11 make energy efficiency benefits to our products, it costs us  
12 in engineering, it costs us in more expensive components, it  
13 costs us in different types of software, and so while we are  
14 happy and excited to meet the challenge on a voluntary  
15 basis, we have a general concern that regulation, if the bar  
16 is set too high, if we do not allow the market to make these  
17 decisions, it could hurt the ability of innovative  
18 California companies, and hurt start-ups and other companies  
19 that are trying to create jobs in California. So, in short,  
20 I am sure I will be before you again in the future when it  
21 becomes our turn, and that is kind of why we are here today.  
22 I mean, we are Californians, so the parking lots are full of  
23 Prius and Minis and even the Tesla. We want a greener  
24 future for our children like everyone else, we just want to  
25 make sure that, as these decisions are being made, that due

1 weight is given to the market forces that are pushing  
2 companies to innovate to make better products for consumers,  
3 and not set the bar so high that it is not viable to have  
4 the kind of innovation that creates jobs in the state.

5 Thanks very much.

6 COMMISSIONER LEVIN: Thank you. At this point, I  
7 am going to assume that there are no more blue cards in the  
8 room. Last change. Okay, do we have any sense of how many  
9 callers would like to make a comment? I am wondering if  
10 people can hang on and hope that we can take any callers'  
11 comments by phone, or do we need to take a break for lunch?

12 MR. STRAIT: I think probably taking a break for  
13 lunch would be a good idea, but what I would like to ask the  
14 callers that are online on WebEx to currently do is there is  
15 a "raise your hand" button that you can click, and anyone  
16 that would like to make a comment over the phone that is on  
17 both WebEx and the phone lines, please click that button and  
18 let us know if they would like to make a comment and we will  
19 take a tally of those, and come up with an order for when we  
20 get back from lunch, and we will take those comments, and  
21 then after we are done with those, we will then take  
22 comments from the phone users that are not on WebEx, we will  
23 load up those phone lines and give them a chance to speak, I  
24 think would probably be the best way to do it.

25 COMMISSIONER LEVIN: Can we take a quick tally of

1 folks on the phone right now and see whether --

2 MR. STRAIT: I am seeing three hands currently up.

3 COMMISSIONER LEVIN: I am wondering, if there are  
4 only three, or even five or six people on the phone, we  
5 could let them speak, rather than take a -- it always ends  
6 up being a minimum of an hour break, no matter how long we  
7 say it is.

8 MR. STRAIT: Certainly.

9 COMMISSIONER LEVIN: Why don't we give folks on  
10 the phone another 30 seconds or so, please let us know if  
11 you would like to make a comment, and then we will decide  
12 whether or not to break for lunch or take the remaining  
13 public comments now.

14 MR. STRAIT: Also, I note that one of the hands up  
15 is from David Kline, however, there is not a phone line  
16 associated with his name. I am assuming he is one of these  
17 unnamed calling users, which would mean we would have to  
18 take his comment with these people here.

19 MR. RIDER: Would you like me to open up the lines  
20 so that people can speak directly? Because that might cause  
21 a little bit of chaos, I just want to prepare you for that,  
22 if you want me to do it.

23 COMMISSIONER LEVIN: Well, can we open up the  
24 lines and just take names and create a list, and then decide  
25 how many public comments we have remaining. I see some

1 heads nodding and some heads going back and forth.

2 MR. STRAIT: All phone lines are now open.

3 COMMISSIONER LEVIN: So if there are people on the  
4 phone, maybe we could start with Northern California and the  
5 Greater Sacramento Area, if you would like to make public  
6 comments, if you could just identify your name for right now  
7 so we could get a sense of how many people would, that would  
8 be very helpful. And then we will ask people in Southern  
9 California. I do not know if that helps or not. Is there  
10 anyone from the Northern California, Sacramento area, Bay  
11 Area who would like to make a public comment that is on the  
12 phone? All right, anyone from Southern California? All  
13 right, anyone from outside of California? Dave Lamb, 3M.  
14 Anyone else?

15 MR. KLINE: This is Dave Kline from JVC.

16 COMMISSIONER LEVIN: Thank you, Mr. Kline. Other  
17 callers inside, outside of California? All right, hearing  
18 none, I am going to assume we have two phone callers and  
19 three WebEx participants. Is that it?

20 MR. RIDER: That sounds correct.

21 COMMISSIONER LEVIN: Okay, I think the Chairman  
22 and I would prefer, then, to continue with public comments.  
23 I know it has been a long hearing, but that lets everyone  
24 leave a bit earlier, and especially in this weather, I think  
25 folks would like to get going sooner rather than later.

1 Good, I am seeing a lot of head nodding now. I could not  
2 quite get the pulse of the people here in the room earlier,  
3 but now it seems to be a consensus. All right, how should  
4 we do this? Should we start with the phone callers? Mr.  
5 Lamb, actually, I called on you earlier thinking you were  
6 here in the room. Why don't we start with you?

7 MR. LAMB: Okay, thank you very much.

8 COMMISSIONER LEVIN: And you will need to speak  
9 really loudly, or, if you are on a headset, if you could  
10 just switch to a handheld now, because you are not coming in  
11 very strongly here.

12 MR. LAMB: Okay. Is this better?

13 COMMISSIONER LEVIN: Yes, thank you.

14 MR. LAMB: Okay. Thank you, Commissioners and  
15 staff. I will keep my comments brief because, actually, I  
16 think a lot of the comments I wanted to make have been made.  
17 My name is Dave Lamb. I am an Advanced Physics Research  
18 Specialist with 3M Company in St. Paul. I am a transplant  
19 from Sebastopol, California, so I do have a vested interest  
20 in what goes on in California. I have been working on  
21 passive brightness enhancement films for liquid crystal  
22 displays at 3M for the past nine years, and I just want to  
23 make a few points. First, regarding our technology, which  
24 actually many have already spoken to, our Vacuity dual  
25 brightness enhancement film technology fundamentally

1 increases the efficiency of any and all TV panels to which  
2 it is applied. Our technology has been implemented in LCDs  
3 of all types, and by all manufacturers for more than a  
4 decade, and our analysis has demonstrated, and others have  
5 commented today, that when this type of technology is  
6 applied to an LCD TV, visual performance improves and the  
7 set power can be reduced by as much as 32 percent. In some  
8 cases, at a net cost savings. And the way that this is  
9 accomplished is, basically what we do is we substitute our  
10 film for light sources and associated electronics that  
11 consume power, and this enables a net reduction in the cost.  
12 Also, as has been commented, there are many other  
13 technologies, ours is not the only game in town, and our  
14 technology is completely compatible with all the other  
15 energy savings technologies that are available. So just in  
16 summary, in short, 3M believes that the on-mode power  
17 consumption requirement currently being considered at the  
18 CEC are reasonable and achievable with existing cost-  
19 effective technologies. Thank you very much. Enjoy your  
20 lunch.

21 COMMISSIONER LEVIN: Thank you very much and thank  
22 you for hanging on this long by phone. Mr. Kline from JVC.

23 MR. KLINE: Yeah, this is Dave Kline. I would  
24 like to make a couple of comments, first about the specifics  
25 of the slide that was presented, I believe, during the Staff

1 Report mentioned JVC television and the energy efficiency  
2 of that product. It was an iPod television. Now, we at JVC  
3 are very proud of our record, we have more number one sets  
4 and more top five sets than any other manufacturer in the  
5 Energy Star database, so we have a long track record of  
6 success with reducing the energy consumption on our sets,  
7 and we are very proud of that effort. The model that you  
8 all described in the 42 inch was last year's model. This  
9 year's iPod television is above the line for the 2012  
10 standards. The reason this product is above the other JVC  
11 sets we have, this is 127 watts, the other JVC sets are at  
12 111 watts, the difference between them is the increased  
13 operating system of the Apple iPod. It is a more complex  
14 operating system, and therefore demands more horsepower from  
15 the central processor, more processing resources, and it  
16 consumes, therefore, more electricity. This product will  
17 not meet the 2012 standards. Our regular base model TVs  
18 will meet the 2012 standards, but because of the increased  
19 operating system consumption which is specified by Apple and  
20 meets 2B to allow the iPod to play on that television, that  
21 cannot be turned off. And unfortunately, it is designed in  
22 as part of the whole operating system, so the regulation  
23 which turns off other different functionalities, or allows  
24 other functionalities to be turned off, are not applicable  
25 to this particular set. So this set would be, because of

1 its larger processing power, eliminated from the market.  
2 Secondly, I have a more general comment that the  
3 voluntary programs, to your specific comments about  
4 seemingly conflicting CEA positions, is that we favor market  
5 proposals and voluntary programs rather than mandates, and  
6 that is the reason for the distinction between the success  
7 of Energy Star and the forces in the larger total market.  
8 Energy Star is only 25 percent by its own elitist criteria,  
9 they want to be a small compact group of people who only  
10 represent 25 percent of the market, so even though those  
11 standards are strict, we hope to fulfill them on a voluntary  
12 basis, and do not see the regulation because the success  
13 test of Energy Star, and the vagaries of future  
14 prognostication, we do not see the market forces as being  
15 capable of providing the energy savings and AB 32  
16 requirements that you all have to face there in California.  
17 Thank you very much.

18 COMMISSIONER LEVIN: Thank you, Mr. Kline, just to  
19 clarify your comment, you refer to a 2012 standard. I am  
20 assuming you mean the Tier 2 standard which --

21 MR. KLINE: Yes, I am sorry, I misspoke.

22 COMMISSIONER LEVIN: -- go into effect in 2013.  
23 Does that change your comments at all?

24 MR. KLINE: No, ma'am. I was referring to the  
25 Tier 2 and misspoke.

1           COMMISSIONER LEVIN: Okay, thank you. Are there  
2 any other callers on the phone that have not identified  
3 themselves through the Webinar? Okay, do you want to call  
4 on the WebEx participants, then, please? The people that  
5 have waved their hand?

6           MR. STRAIT: Sure. There is a hand up from a Paul  
7 Bendt.

8           MR. BENDT: Yes, this is Paul Bendt. Am I free to  
9 go?

10          MR. STRAIT: Yes.

11          COMMISSIONER LEVIN: Yes, please.

12          MR. BENDT: Okay. I just wish to address one  
13 misrepresentation that we have heard from, I believe, two  
14 speakers during the morning, and that is that power factor  
15 does not save energy. The truth is that improving the power  
16 factor does save energy. It is a very subtle distinction.  
17 If you listen to their words carefully, they say it does not  
18 save energy in the product. It turns out the real problem  
19 with any appliance that has a poor power factor is that it  
20 draws a lot more current through all the house wiring than  
21 it needs to draw, and that extra current through that house  
22 wiring leads to extra heating and energy loss in the wiring  
23 of the house. Now, they are very careful to say it does not  
24 save energy in the appliance, that may be true, but it does  
25 save energy for the consumer, and all the calculations for

1 this have been submitted, they should already be in the  
2 docket, but I just wanted to emphasize that the power factor  
3 requirements that are in the staff proposal are appropriate,  
4 they do save energy, they are important, and the  
5 calculations to back that up are part of the docket. And I  
6 thank you for that.

7 COMMISSIONER LEVIN: Thank you, Mr. Bendt.

8 MR. FERNSTROM: Gary Fernstrom from PG&E. I would  
9 just like to clarify that Dr. Paul Bendt is with Ecos  
10 Consulting and a Consultant for PG&E. Thank you.

11 COMMISSIONER LEVIN: Thank you.

12 MR. STRAIT: Is there anyone else on any of the  
13 phone lines that would like to speak?

14 COMMISSIONER LEVIN: So the other people that  
15 waved their hands are no longer online?

16 MR. STRAIT: Yeah, the people that have raised  
17 their hands have spoken.

18 COMMISSIONER LEVIN: Okay. All right. I am  
19 assuming, hoping there are no other public comments in the  
20 room. If anyone has an urgent need still to add a public  
21 comment that has not already, please let me know right now,  
22 otherwise, I would like to ask if our Chairman would like to  
23 make any concluding comments, or David Hungerford for  
24 Commissioner Rosenfeld?

25 CHAIRMAN DOUGLAS: I would very briefly like to

1 thank everybody who participated in today's workshop. We  
2 have listened carefully to all that everybody has said. I  
3 saw staff sitting here taking copious notes, and we  
4 encourage you to put your comments and information and we  
5 will take your responses to data requests in the record at  
6 the Energy Commission. Thank you for being here.

7 COMMISSIONER LEVIN: And I would --

8 MR. HUNGERFORD: I just wanted to say thank you on  
9 behalf of Commissioner Rosenfeld. I have been with him at  
10 all the prior workshops and hearings and am satisfied that  
11 we have taken as much public comment as has been offered,  
12 and that we can move forward today with taking a look at our  
13 regulations, the proposed regulations, given the comments  
14 that we have received, and that we will receive until  
15 November 2<sup>nd</sup> into this docket. And we encourage everyone who  
16 has additional comments to make to provide written comments  
17 by November 2<sup>nd</sup>. Actually, if staff could close -- oh, that  
18 slide is up now. That shows you how to submit those  
19 comments and we appreciate your participation. Thank you.

20 COMMISSIONER LEVIN: And I would like to thank  
21 everyone, I know it has been a long hearing, but I  
22 appreciate how many people have stuck around this long.  
23 This is a very important issue for energy consumption, for  
24 reliability, for greenhouse gas emissions, all the reasons  
25 that you have heard and staff considered. I am very happy

1 to hear how much consensus there is around all the  
2 innovation going on in this industry and I am happy as a  
3 television user myself, I just bought one recently, just got  
4 my first DVR this weekend, and I am trying to move into the  
5 21<sup>st</sup> Century.

6 MR. HUNGERFORD: You will love the pause feature.

7 COMMISSIONER LEVIN: It is very exciting to hear  
8 really from both sides of the aisle about all the  
9 innovation, and whether it is occurring in California or  
10 Texas, I think it is great for the economy and the  
11 environment and green jobs wherever it is occurring.  
12 Obviously, I am particularly happy to hear about all the  
13 innovation, all the new companies springing up, all the new  
14 products in development in California. We are thrilled and  
15 will do whatever we can to encourage green jobs and a new  
16 clean economy. As I said to several of the speakers later  
17 in the morning, we are hearing contradictory statements  
18 about the amount of innovation, and yet that the rule will  
19 be stifling of innovation, and I think receiving additional  
20 information on that specific issue will be very helpful to  
21 us to try to clarify one of the last speakers, I believe it  
22 was the gentleman from TiVo, which, I have to say, I think  
23 it is great when your company name becomes a verb, as well  
24 as a noun, right up there with Google, is to TiVo something  
25 now. But the idea that market forces are enough, and yet

1 the energy consumption data across the state shows that  
2 energy consumption for television continues to go up quite  
3 quickly and quite significantly, and so to reconcile some of  
4 the things that we have heard this morning would be very  
5 very helpful and, again, by November 2<sup>nd</sup>. So thank you all  
6 very much. We look forward to working with all of you in  
7 the future, particularly on public education, spurring new  
8 innovation, and saving Californians money and energy. Thank  
9 you all.

10 (Whereupon, at 12:42 p.m., the workshop was adjourned.)

11 --o0o--

12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## CERTIFICATE OF REPORTER

I, PETER PETTY, an Electronic Reporter, do hereby certify that I am a disinterested person herein; that I recorded the foregoing California Energy Commission Workshop; that it was thereafter transcribed into typewriting.

I further certify that I am not of counsel or attorney for any of the parties to said meeting, nor in any way interested in outcome of said meeting.

IN WITNESS WHEREOF, I have hereunto set my hand this \_\_\_\_\_ day of October, 2009.

---

PETER PETTY