

BEFORE THE
CALIFORNIA ENERGY COMMISSION

10-BSTD-01

Staff Workshop on Draft 2013 Building Energy Efficiency
Standards Revisions for Residential and Nonresidential
Buildings

DOCKET
10-BSTD-7
DATE 6-9-11
RECD. 7-6-11

CALIFORNIA ENERGY COMMISSION
HEARING ROOM A
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

THURSDAY, JUNE 9, 2010
10:00 A.M.

 ORIGINAL

Reported by:
Michael Connolly

STAFF

Mazi Shirakh
 Martha Brooke
 Ryan Ware

ALSO PRESENT (* Via WebEx)

Thomas D. Culp, Ph.D., Birch Point Consulting
 J. Carlos Haiad, P.E., PG&E
 Thomas Zarembo, Roetzel & Andress, Consultant to
 Fenestration Industry
 Sylvester Caudle, Market Advisor, Southern California Gas
 Tim Simon, Golden Power Manufacturing, Radio Thermostat
 Company of America
 Jamy Bacchus, P.E., Staff Engineer, NRDC
 Stuart Tartaglia, IDSM Products, PG&E
 Albert Chiu, PG&E
 Mike McGaraghan, Project Manager, Energy Solutions
 Michael Hodgson, President, ConSol
 Victoria Doyle, Associate Research Engineer, ConSol
 Robert Raymer, P.E., California Building Industry Association
 Catherine Chappell, Hescong Mahone Group, Inc.
 George Nesbitt, CalHERS
 Amy MMagu, Legislative Assistant, California Chamber of
 Commerce
 Dan State, Code Compliance Manager, Solatube
 Michael D. Gabel, Principal, Gabel Associates
 John Steinberg, CEO EcoFactor
 John McHugh, Principal, McHugh Energy Consultants
 Thomas Enslow, Attorney, on behalf of California State
 Pipe Trade Council
 * Kirk Oatman, I Am In Control
 * Jim Lutz, Lawrence Berkeley National Laboratory
 * Thomas Trimberger, Bureau Veritas

INDEX

	Page
Introduction/General Information about 2013 Title 24 Rulemaking Calendar	
Mazi Shirakh	4
Nonresidential Fenestration Update	
Eric Shadd (AEC)	12
Upgradable Fenestration Thermostats (UST)	
Josh Rasin (HMG)	55
Lunch	
Multi Family DHW/Solar Water Heating	
Yanda Zhang (HMG)	103
Residential High Efficiency Water Heater Ready Measures	
Yanda Zhang (HNG)	132
Residential DHW Distribution Systems	
Marc Hoeschele, Davis Energy Group	158
Residential Showerheads	
Owen Howlett (HMG)	184
Public Comments and Questions	
Closing Remarks	199
Adjournment	199
Certificate of Reporter	200

P R O C E E D I N G S

1 JUNE 9, 2011

10:06 A.M.

2 MR. SHIRAKH: Good morning. I think we're going to
3 get started. I'm Mazi Shirakh, to my left is Martha Brooke.
4 And we are the Project Managers for the 2013 cycle of the
5 standards.

6 I just wanted to apologize, you know, for being late
7 a little bit. I know that the meeting notice said the time
8 was nine o'clock but since then what happened was two or
9 three topics were dropped from the agenda today so we moved
10 it to ten o'clock, which actually, I think, works better for
11 most folks who are traveling from the Bay Area here.

12 So we have a number of topics on the agenda. The
13 first one is going to be nonresidential fenestration update
14 and Eric Shadd is going to present that. He is with the
15 AEC. Then after that is going to be upgradable setback
16 thermostats. Josh Rasin and myself will be presenting that
17 topic. And then we will break for lunch. After lunch we
18 have three topics. One is multi-family domestic hot water
19 heating and Yanda from HMG will be presenting that and he
20 will also present the residential high efficiency water
21 heating ready measures. The last topic of the day is going
22 to be residential domestic hot water systems and Mark
23 Hoeschele from the Davis Energy Group will be presenting
24 that. So that's basically the agenda.

1 At the entrance to the room there is a sign-in sheet
2 so we would appreciate if you wrote down your name and your
3 contact information. The best thing would be to staple your
4 business card and that way we have a list of all of the
5 attendees here. We also have a court reporter here. So for
6 that reason anybody who wants to speak - I know it is
7 sometimes tempting to yell from the audience - but, you
8 know, you really need to come to the podium here and you
9 need to introduce yourself and your affiliation. And if you
10 can hand a business card to the court reporter. It really
11 makes his life easier.

12 So with that, I have a brief presentation. For
13 those of you who have seen my presentation before you can
14 hit the snooze button. But since the audience is
15 sufficiently different here I think I need to go through it.
16 There have been a few changes related to the schedule and I
17 would like to discuss that.

18 And for those of you who are going to be here,
19 tomorrow's workshop also starts at ten o'clock instead of
20 nine, as was previously noticed. Next slide, please.

21 So these are the various policy goals that are
22 driving the effort for the 2008 standards. Basically the
23 goal here is to move towards zero net energy. And we are
24 also coordinating with the Green Building Standards that
25 were published in 2008. And we will talk about the REACH

1 Standards a little bit later, which is part of this effort,
2 too. Our major collaborators are the California investor-
3 owned utilities. That includes PG&E, SCE, SDG&E and
4 Southern California Gas. And they have been really
5 forthcoming with their resources, both in terms of funding
6 and contract resources. Most of the measures that are under
7 consideration for this round of standards have been
8 sponsored by the IOUs. PIER, the Energy Commission's
9 research program, is a critical part of it and we also get a
10 lot of input from various stakeholders.

11 These are the famous Rosenfeld graphs, which we
12 think documents the impact of the building and appliance
13 standards in the State of California. The green graph here
14 is California's per capital kWh consumption and the red is
15 the entire US as a whole. And what you notice is that
16 before 1976, you know, the two graphs generally had the same
17 slope. What happened in 1976 was the introduction of the
18 first appliance standards followed by the first building
19 standards. And ever since then we have pretty much kept the
20 per capita consumption fairly constant.

21 This one shows that the State of California is the
22 most energy efficient state in the union when it comes to
23 per capita energy consumption with a little less than 7000
24 kWh per year per person, while the entire US is roughly
25 around 13,000.

1 Our effort is to move toward zero net energy and,
2 you know, we are going to have two more rounds of standards
3 besides 2013 and the goal is for the residential to reach
4 zero net by 2020 and we are hoping we can save around 20 to
5 25 percent for residential for each cycle and 15 percent for
6 nonres. And the goal for nonres is zero net energy in 2030.
7 And again we are incorporating the REACH Standards for the
8 first time, which is going to go into the Part 11 of the
9 Title 24. And we are aligning our timelines with the
10 California Building Standards Commission, their triennial
11 cycle, for the first time, which is going to be an
12 interesting challenge for us. But the nice thing would be
13 that the entire code would be published at the same time,
14 all 11 parts of Title 24 and that we will be in sync with
15 them.

16 Some of the things we are trying to address as part
17 of Title 24 is simplicity of the standards or simplification
18 of the standards. And we have all heard a lot of anecdotal
19 and real stories about complication of the standards. And
20 the message we have been giving to the team consistently
21 throughout this cycle is, you know, keep things simple even
22 if it means sacrificing a few kilowatt hours here and there.
23 We think in general having simpler standards that are more
24 understandable and enforceable are superior to complicated
25 standards that nobody understands or can follow. So we are

1 going to follow that message all the way through.

2 And to do that, you know, some of the things we are
3 doing besides writing simple codes is changing some of the
4 measures from prescriptive measures into mandatory
5 requirements so everybody knows it has to be done. There
6 are no trade-offs, no questions. We are going to review the
7 number of exceptions we have in the standards. The
8 exceptions are there for a purpose but they do tend to
9 complicate the standards and if they outlive their
10 usefulness we will get rid of them. We are going to try to
11 simplify the forms and actually create a form generator, an
12 electronic form generator that works in many ways like some
13 of the tax software that you have. You know, when you are
14 using that you don't really need to know about the forms
15 when you are using, like, TurboTax all you need to do is
16 answer a few questions and the software will figure out what
17 forms need to be spit out.

18 We are also thinking about simplifying the interface
19 of our compliance softwares for both res and nonres to make
20 it easier to actually identify the type of trade-offs one
21 wants to do and neutralize the fields that are not under
22 consideration. We are also considering creating an Energy
23 Commission-based central repository. This is kind of an
24 extension of the effort that started in 2008 creating the
25 HERS registries. You know, people have to upload certain

1 types of compliance documentation and with this repository
2 those documents will actually get transferred into a CEC
3 repository.

4 You know, we are considering other types of not
5 directly energy-related measures into this round of
6 standards, like greenhouse gas emissions and effect of
7 reflectance on the roofs. We are considering for the first
8 time water-saving measures not directly related to power,
9 roof deck insulation in residential buildings, proper
10 orientation of buildings, and considering some type of
11 trade-offs between PVs and certain types of building
12 features.

13 This is the schedule for the 2013 standards. We are
14 kind of in the middle here, this timeframe where we are
15 holding staff workshops. By September we are supposed to
16 have our first draft of the standards marked up with track
17 changes. And then in the Fall we will start the formal
18 rulemaking process where we present 45-day and, if needed,
19 the 15-day language. The most important dates here are in
20 red, the March 2012 adoption date of the standards if
21 everything goes as planned. In July of 2013 is the
22 publication date of the entire code, which will be published
23 by the Building Standards Commission and hence the name 2013
24 Standards. The effective date is January of 2014.

25 As with all the other cycles of the standards, we

1 have to follow the life cycle costing methodology that we
2 have developed and we have updated for each cycle of
3 standards. We have updated the weather files, we have
4 updated the time-dependent valuation or the TDV values for
5 both Base and REACH standards and then updated life cycle
6 costing methodology. For this round of standards all of the
7 people who have been participating have noticed it is a
8 little bit different because we have relied heavily on the
9 IOUs and the stakeholder meeting process to present and vet
10 topics that are being presented in the staff workshops.
11 Most of the topics that you have been hearing and you will
12 hear at the staff workshops have been presented in
13 stakeholder workshops several times, three, four, five times
14 sometimes. So most of it should be familiar to you.

15 These are the workshops that we have already had
16 this Spring, starting on April 4th. And June 9th is
17 obviously today. And this is the list of the upcoming
18 workshops. The big news here is that the June 14, 2011
19 workshop has been canceled. That was scheduled for next
20 Tuesday. You know, our team has been basically working
21 around the clock and the people haven't had very many
22 weekends and we have to give ourselves a break, too.

23 (Inaudible question from audience member.)

24 Here. They are July. And basically I'm going to
25 ask the audience here. We have two dates, July 12th or

1 15th, I don't know if there is a preference between those
2 two dates. One of them is a Tuesday, July 12th, and July
3 15th is a Friday. So if you have a preference please let me
4 know today and within the next couple of days we will make a
5 decision which one of those dates.

6 We already went over the agenda for today's
7 workshop. Tomorrow is going to be mostly envelope measures
8 both for res and nonres cool roofs, insulation. So if you
9 are interested, please be here or you can dial in through
10 the WebEx. June 21st is going to be a workshop. Martha is
11 going to handle those and it is going to be residential and
12 nonresidential ACM manual rule changes and updates. The
13 mid-July workshops, which were supposed to be Tuesday,
14 include a host of mostly residential topics, residential
15 alternative component packages. This is basically the
16 updated Package D, the 2008 Package D, which is going to be
17 presented as Package A for that workshop.

18 But this is going to be the list of prescriptive
19 requirements that we think are cost effective. Basically,
20 this is a combination of the work we've been doing: zone
21 air conditioning, higher mandatory measures for ceilings,
22 walls and roofs, advanced envelope assemblies, HVAC
23 refrigerant charge procedures, and nonres hotel/motel guest
24 rooms, and residential and nonresidential changes to
25 administrative requirements. These would be changes to the

1 Sections 10-101 to 114. And on July 21st and 22nd we will
2 present the REACH standards requirements. This is a process
3 that Martha is following to update the compliance software
4 and this is the schedule that she is following and hopefully
5 we can have our compliance software and the engines and the
6 interfaces, everything ready well ahead of the effective
7 date of the standards.

8 Forget that June 7th deadline. You know, please
9 give us your information or this workshop by July 7th, so
10 that gives you roughly a month.

11 That's it. If there are any questions related to
12 the introduction stuff?

13 (No response.)

14 If not, we will move to our next presenter, which is
15 Eric Shadd from AEC and he will be talking about
16 nonresidential fenestration updates. Thank you.

17 MR. SHADD: Good morning, everyone. Can you hear me
18 okay? Yeah? Okay. I apologize for being late and holding
19 everything up. I will jump right into it so we can get this
20 going.

21 My name is Eric Shadd, I work for Architectural
22 Energy Corporation and I've worked on the nonresidential and
23 high rise residential fenestration update. So today a quick
24 outline. We will go through the methodology, analysis and
25 results that we did for this measure. We will go over the

1 code language that is being proposed and any remaining work
2 that we have to do.

3 So the first thing we did was conduct some research.
4 We looked at existing standards, Title 24 90.1, etcetera. We
5 also consulted a number of technical documents, market
6 studies and online resources. We conducted many, many
7 interviews of codes and standards developers, people in the
8 fenestration industry and technical experts, all of this
9 with the goal of gathering product information and typical
10 practices as it applies to fenestration in California; also
11 to develop a methodology and to gather stakeholder contacts.
12 After this research was done we developed a list of products
13 that could be applied to fenestration and we tried to be
14 very exhausting in all the products that could apply, with
15 the limitation that it had to be applicable to a
16 prescriptive standard. And also from this research that we
17 conducted we got cost information from manufacturer surveys.
18 And as far as the research that led to our methodology, we
19 decided to go with basically using an energy model to get
20 the annual TDV energy for a representative fenestration. We
21 would then develop a curve fit that would give us the TDV
22 energy of any arbitrary fenestration given the U-factor,
23 HSGC and VT. And with that we could get the annual TDV
24 energy use of any fenestration and would be able to look at
25 a very large set of fenestration alternatives. And finally

1 with that curve fit we would use the life cycle cost
2 methodology as it applies to TDV in order to get the life
3 cycle cost of each fenestration alternative. And finally we
4 also developed a list of stakeholders from all of our
5 research that we performed.

6 So differences with the previous update, which took
7 place in 2001, we have updated product costs, some
8 technologies have become less expensive, we have a lot more
9 products that we are looking at. We also examined SHGC as a
10 function of angle of incidence. For those of you who are
11 unfamiliar, SHGC is the solar heat gain coefficient of
12 windows and it corresponds to how much heat gain you get
13 through a window from the sun. And we also, as Mazi
14 mentioned, had updated energy costs and weather files.

15 In terms of fenestration costs, all cost was looked
16 at in terms of a cost premium over the baseline used. The
17 raw cost premium of products was mainly obtained from
18 California window manufacturers. In some cases we did use
19 resources other than window manufacturers, glazing
20 contractors, product manufacturers, or people outside of
21 California if the technology was not prevalent in
22 California. And in those cases we applied adjustment
23 factors. And finally the fenestration cost, which was the
24 entire, say, window assembly was just a simple sum of how
25 much the glass cost, the frame cost, the spacer, etcetera.

1 So once we had all these different products we had
2 to apply some selection rules to filter out certain things.
3 First off, as I mentioned before, it had to be applicable to
4 a prescriptive standard. So we looked at things like market
5 availability, reliability, verifiability of performance
6 data, and several other criteria to make sure that they
7 could be used in a prescriptive standard. And also there
8 were certain things that couldn't be done. In other words,
9 you don't want to put a soft coating on the room side. If
10 you are familiar with low-E coatings there are sort of two
11 types. There are hard coatings and there are soft coatings.
12 If you were to put the soft coating on the room side then it
13 could be potentially scratched. So that was another way of
14 filtering out the sort of combination of products that you
15 could use together.

16 And then we had another set of selection rules and
17 that was to find the representative fenestration that would
18 go into our energy model. If you remember, our energy model
19 was going to be the source of the curve fit, which would
20 allow us to examine any arbitrary fenestration without
21 having to use an energy model. Energy models are very time
22 consuming and if you were to look at everything I think it
23 would take on the order of six months of computing time. So
24 this curve fit was a real big help.

25 There was an indexing algorithm that was generated

1 based on those filters, the selection criteria that I
2 mentioned before, and from that indexing algorithm we ended
3 up with a set of about 1400 windows, about 600 glass
4 skylights and about 55 plastic skylights. And the
5 performance of these different fenestrations was calculated
6 in CMAST, which is the new NFRC tool for determining U-
7 factor, SHGC and visible transmittance, it's a software
8 tool. So there were no prototypes that needed to be mocked
9 up.

10 For our energy model we were guided by - first off,
11 we wanted to use EnergyPlus. That is predicted to be the
12 new compliance software in the future so we wanted to use
13 that for consistency's sake. As I mentioned before, we used
14 the CMAST tool to get the NFRC U-factor, SHGC and VT, the
15 visible transmittance. In that way the standards could be
16 consistent with what people can get in the market. We
17 looked at the forecasted California construction by building
18 type that was developed outside this analysis but it let us
19 know how many building were going to be office buildings,
20 how many were going to be retail and what sorts of
21 characteristics do those types of buildings usually have.
22 And that guided what we did with our energy model.
23 And also in line with that we looked at the Department of
24 Energy's reference building models of national building
25 stock; and Title 24 2008 as well to get minimums for that;

1 and then some engineering judgment where it was necessary.

2 So with all that in mind in terms of the actual
3 energy model, we used updated weather and TDV, as mentioned
4 before, for all the different climate zones. For the
5 envelope we used a 130 foot by 130 foot single story, single
6 floor prototype. It was guided a lot by Title 24 2008
7 prescriptive minimums. The orientation was that it directly
8 faced the cardinal directions. And we looked at windows and
9 skylights at the window-to-wall ratios and skylight-to-roof
10 ratios that you can see right here. We chose 4 x 5 and 4 x
11 4 because those are the NFRC 100 guidelines for when you are
12 going to model these and find the NFRC performance ratings.
13 And then within this envelope, of course, the windows, we
14 used the representative fenestration that I mentioned
15 before.

16 We had four perimeter zones, 15 foot deep, 100 x 100
17 foot core. The loads were guided by the ACM Manual. And
18 then we included automatic bi-level daylighting controls in
19 the primary, secondary, side-lit and skylight zones. And
20 then the system we chose was a System 1, which turns out to
21 be the most prevalent, it's basically a package single zone,
22 it is more around five tons.

23 So once we had done all of our energy modeling and
24 we had our TDV energy use for all of these representative
25 fenestration, we needed to curve fit structure that would

1 fit the data that we had gotten from it. And we looked at
2 the previous code update, we did some inspection of the data
3 to look for trends, and we also investigated physical
4 analogies, things like decay phenomena and such.

5 And this complicated thing that you see right here
6 is the structure of the formula that we finally came up
7 with. To talk about it in simple terms, it is simply a
8 coefficient times the fenestration ratio, which is raised to
9 a power, multiplied again by whatever performance rating you
10 have from the NFRC value, also raised to a power, and then
11 it is sort of the sum of all those together. And then a TDV
12 baseline. And when we used this very extensive but useful
13 formula we got very good curve fits.

14 This is pretty typical right here. I'm showing you
15 an example of Climate Zone 3. This is calculated TDV from
16 our curve fit versus modeled TDV which came from the energy
17 model. You can see we have a correlation of somewhere
18 around 98 percent and almost a 1:1 correspondence if you
19 look at the slope of that line, it is about 0.98 and the
20 offset is only about 0.06. So it was very close.

21 So after the curve fit was developed then all of
22 these fenestration that were mentioned before, these 1400
23 windows, the 600 skylights and the 55 plastic skylights,
24 were put into this curve fit. And we got the annual TDV
25 use. Then from this annual TDV use we got the 30 year

1 present value, the life cycle cost. And that was simply a
2 multiplier that was given to us by the CEC. And then our
3 final life cycle cost was the fenestration cost premium
4 mentioned earlier plus the 30 year present value of the
5 annual energy.

6 So the minimum life cycle cost, of course, was the
7 fenestration that had the lowest life cycle cost. This is
8 specific to each climate zone at each window-to-wall ratio
9 and each skylight-to-roof ratio. So you have a different
10 fenestration for each one of these. Every climate zone and
11 every window-to-wall ratio and skylight-to-roof ratio has an
12 optimum minimum life cycle cost. This fenestration became
13 sort of the first basis for the standard but certain
14 adjustments were made after this point.

15 So the adjustments were code simplification, as Mazi
16 mentioned earlier, and for this standard we looked at using
17 a single U-factor, SHGC and VT across all climate zones and
18 across all window-to-wall ratios and skylight-to-roof
19 ratios. We also did some code bounding. In other words,
20 you don't want to just say people have to have an SHGC of
21 0.22, you want to tell them that that is the maximum SHGC so
22 they can actually do a little better than that, and such.
23 And then there is actually a bullet point missing here. I
24 guess maybe I accidentally deleted it at the last point.
25 There were some stakeholder comments that led to some

1 adjustments as well.

2 So for code simplification, there is a CEC move to
3 simplify the code. As I mentioned before, we looked at
4 single U-factor, SHGC and VT for all climate zones. The way
5 we went about it was we looked at the lowest life cycle cost
6 on a statewide basis. So we used the forecasted
7 construction. And what we basically did was we took every
8 single alternative that had turned out to be a minimum life
9 cycle cost in the previous analysis and we put that into the
10 life cycle cost formula and looked at what would be the
11 entire impact on the whole state if that were the single
12 fenestration chosen. And among all of those then we found
13 the minimum from that.

14 In terms of code bounding, I think if you look at
15 just the physical phenomena you can see that a maximum U-
16 factor, which is basically a resistance - it's the inverse
17 of resistance of a wall, if you want to think of it in terms
18 of that way - a maximum U-factor, a maximum SHGC and a
19 minimum VT sufficiently optimize the standard. If you go
20 lower than the maximum SHGC that we will put in the standard
21 then you will save energy. If you go higher than the
22 minimum VT you will also save energy. So you can kind of
23 just look at the physical phenomena and determine the bounce
24 that way.

25 However, for plastic skylights, the pigment of a

1 plastic skylight determines both the solar heat gain
2 coefficient and the visible transmittance. So if you put a
3 maximum bound on the solar heat gain coefficient you in
4 effect put a maximum visible transmittance. And our
5 analysis showed that VT actually had the most effect on the
6 energy use of a building and that if you increased VT that
7 you would always find energy savings above the minimum VT
8 regardless of the fact that SHGC would also increase with
9 it.

10 Here is an example of that. In Climate Zone 15,
11 which is the climate zone with the highest heating load, you
12 can see there both two percent skylight-to-roof ratio and
13 five percent skylight-to-roof ratio; the overall TDV energy
14 use always decreases with some slight little fluctuations in
15 there. It either decreases or is neutral with increasing
16 VT. VT is on the X-axis there. And I've highlighted the
17 region of our proposed minimum VT. Now, if you also take a
18 careful look here you will notice that it flattens out above
19 the minimum VT. And I suspect that's why this became the
20 minimum life cycle. What is happening there is basically
21 the room is saturated with daylight and you can't get any
22 more savings. But what happens is that, you know, for our
23 energy model we had a specific lighting level. And if you
24 go to any lighting levels higher than that this actually
25 will not be flat, it will continue to decrease. So ours was

1 based on an office occupancy. If you were to use a retail
2 store, which uses a lot of light, then the curve would
3 continue to decrease and not just flatten out at that point.

4 MS. BROOKE: Eric, I just have a clarifying
5 question. In your model are you assuming that you can
6 displace all of the internal lighting with the VT or is
7 there just so much distance into the room? I mean, that's
8 where you are getting your savings, right, is displacing
9 interior lighting?

10 MR. SHADD: Right. I'm sorry, maybe I should
11 clarify that. So the savings that come from VT come with
12 daylighting controls. It's probably something I should have
13 mentioned earlier. So if you have light coming through,
14 say, a skylight or a window then you can adjust your
15 electrical lighting downward from there and that's where
16 your savings come in. Was that your question, Martha?

17 MS. BROOKE: Well, so my question is are you
18 allowing - is your assumption that it can displace all of
19 the interior lighting or just a certain amount into the
20 room?

21 MR. SHADD: It depends on how many skylights you
22 have in there. So I think earlier -

23 MS. BROOKE: Okay.

24 MR. SHADD: Yeah, right, right.

25 MR. SHIRAKH: There is a separate daylighting

1 requirement in the code for the primary zone and the
2 secondary zone. The illuminated areas that are within those
3 zones will have to have some type of automatic control. So
4 presumably the more VT, the more you can dim the lights
5 within those zones. And this also couples with our
6 controllable ballasting (ph), we are going to have dimming
7 ballast that ramps lights up and down.

8 MR. GABEL: Real brief, Mike Gabel of Gabel
9 Associates. To follow-up, so the controls are assumed to be
10 dimming controls, not on/off controls?

11 MR. SHADD: They are assumed to be bi-level.

12 MR. GABEL: Bi-level.

13 MR. SHADD: So off 50 percent and completely on.
14 Okay.

15 So the last form of adjustment that we did away from
16 the minimum life cycle cost was based on stakeholder
17 comments. So one of the stakeholder comments was that the
18 proposed performance ratings cannot be achieved by all
19 window types. So in our energy model we had fixed windows.
20 But, of course, in the real world you can have operable
21 windows, you can have doors that are made entirely of glass,
22 you can have different types of operable windows, etcetera.
23 So what we did was we revised again and we refined the
24 standard again. And the way we did that was we used the
25 same center of glass assembly and we put it into different

1 window types.

2 So with our fixed window, for example, the optimum
3 turned out to be a double-pane with green tint and triple
4 silver low-E coating with, I think, an aluminum frame or
5 something like that. So instead of just putting that into a
6 fixed window we once again used CMAST and we put it into
7 operable windows, we put it into curtain walls and
8 storefronts and also into glazed doors. And we looked at
9 several configurations within those window types. So for an
10 operable window you can have a casement window, you can have
11 an awning or a horizontal slider. So we looked at all of
12 those. And we took the maximum U-factor of all those
13 different configurations, the maximum SHGC of all those
14 configurations and the minimum VT as well from those in
15 order to develop a single standard, instead of having to
16 specify a single one for casement, awning and horizontal
17 slider, etcetera.

18 The next set of comments were mainly geared towards
19 leaving lower VT as an option in the standard. Right now
20 the standard only has a maximum solar heat gain coefficient.
21 So our proposal is to now include VT so that we can see the
22 daylighting benefits from fenestration. So the first
23 comment was that we will encounter glare if we include VT in
24 the standard. Our response to that was that the
25 nonresidential VT that the stakeholder had observed has

1 actually been lowered since this first comment from 0.52 to
2 0.44 for nonresidential. For high rise residential it has
3 remained the same but we don't consider that to be a concern
4 because high rise residential is mainly unoccupied during
5 the day, which is when glare is of most concern.

6 Our second response to the glare comment was that
7 the prescriptive envelope approach is still available as
8 well as the performance approach. If a lower VT is desired
9 for the project clerestories can also be used in those two
10 approaches. So we are not eliminating lower VTs from the
11 standard. They can still be used in the standard. However,
12 if you are going to follow the prescriptive envelope
13 component approach, which is the part of the standard that
14 we are revising, then you will need to follow this VT.

15 Another response is that there is an RSG formula in
16 the Title 24 standards that basically allows you to lower
17 your solar heat gain coefficient if you are using overhangs.
18 There is not a corresponding overhang penalty on VT.
19 Therefore, you can use sort of higher solar heat gain
20 windows and still put shading over them and that will still
21 be able to qualify without penalizing the VT.

22 Further responses on the glare comment, lower VT dos
23 not mitigate direct sunlight contrast no matter how dark of
24 a window you put in there. If you are looking at the disc
25 of the sun through the window it's going to be a thousand to

1 one versus the rest of your surroundings. As far as
2 reflective glare on computer screens, that can be mitigated
3 with low reflectance computer accessories and we fully
4 expect that the technology for anti-glare on computer
5 screens is going to move much faster than the life cycle of
6 a window installed in a building. And finally, occupant
7 orientation can always significantly mitigate glare. This
8 is especially true on east- and west- and north-facing
9 windows. And actually right now 100 percent of the current
10 nonresidential standard is susceptible to VTs that are
11 higher than the proposed VT.

12 The next stakeholder comment was that exterior
13 shading and interior blinds should be considered in the
14 analysis. Exterior shading would actually tend to drive the
15 VT higher. And for interior blinds, recent studies - as is
16 cited here by HMG - show that occupants actually actively
17 control blinds to maximize the daylight. And given that, if
18 they have drawn down their shades, for instance, it's
19 actually better to have a higher VT so that more daylight
20 savings, more daylighting control savings can be attained
21 with those shades closed. So just to clarify that a little
22 bit, most shades in commercial buildings are not the black-
23 out type. You know, we are not talking about the blinds
24 that you may have in your home that completely block out
25 light. We are talking about shades that permit some light

1 to come through, whether they are slatted or typically some
2 sort of fabric or something like that or a screen.

3 And then another stakeholder comment was that the
4 technology proposed in the standard - which is this triple
5 silver, low-E coating that I mentioned before - is
6 proprietary to only two companies. In our research we found
7 that it is proprietary to two but available from four of the
8 six major manufacturers. Only two manufacturers do not
9 offer it. Those two manufacturers actually only offer the
10 pyrolytic type of coating. Our second response was that
11 Title 24 actually does not have a proprietary constraint, it
12 has a cost effectiveness constraint and a market
13 availability constraint, and several other constraints. But
14 most notably what is really needed by law is to show cost
15 effectiveness and market availability, which this technology
16 does have, this triple silver, low-E coating.

17 And once again I wanted to mention that, even though
18 this was the technology that was found to be optimum in the
19 standard, it is not outlawing or eliminating any other
20 technology, including maybe so-called exotic technologies
21 such as electrochromic and thermochromic. Those can still
22 be used within this standard in the performance approach or
23 in the case of lower VT glazing, as we were talking before,
24 and also in the prescriptive overall envelope approach.

25 Another comment was that effective aperture and LSG

1 - which is light to solar gain, the ratio of VT to SHGC -
2 should be considered in lieu of VT. Effective aperture is
3 actually being eliminated from the standards for the purpose
4 of simplification. And LSG, which is the light to solar
5 heat gain, would actually not guarantee that you would get
6 good daylighting savings because even dark glazing can meet
7 this requirement. You know, you can have a dark glazing
8 that has a good ratio but still doesn't let in much light.

9 And then finally, daylighting controls do not have a
10 significant effect on savings. Our analysis actually showed
11 that it did have a significant effect on savings and also,
12 probably more importantly, almost all side-lit and sky-lit
13 spaces will require daylighting in the new standards. So
14 using daylighting in our energy model was appropriate, I
15 believe.

16 I wanted to show some graphics here to show that if
17 we do not include a VT requirement the losses to the
18 standard are significant. This is a comparison of how much
19 life cycle savings is lost if you don't use VT versus if you
20 do use VT. So in other words, for nonresidential windows
21 you lose about 40 percent of your savings if you do not
22 include VT in your standard. For skylights it is much more
23 substantial as the benefit of skylights is almost primarily
24 VT.

25 So finally, just to show some numbers here - I don't

1 expect us to read all of these - I kind of just wanted to
2 show graphically the savings that we get from this new
3 standard. So, as you can see, the minimum life cycle cost -
4 which varied, as I mentioned before, by climate zone and
5 also by the ratio of your fenestration to whatever surface
6 you're looking at - and this proposed update that we have,
7 the savings are pretty close, actually. You don't lose much
8 by going to the simplified standard of single U-factor and
9 SHGC and VT over the whole state. And then in contrast if
10 you look at the no-VT alternative it drops significantly
11 there. So this is showing nonresidential windows and high
12 rise residential windows.

13 This next slide is the same thing but for glass
14 skylights. For nonresidential plastic skylights, once again
15 the minimum life cycle cost is very close to our proposed
16 standard. There is no line here for no-VT because the VT
17 requirement wouldn't apply to plastic skylights. And we
18 have some final calculations to do, so high rise plastic and
19 glass skylights, the data is not available yet.

20 So finally, our code language. This is what we are
21 actually proposing for the standard. So we would have
22 across all climate zones a maximum U-factor, a maximum RSG -
23 which does correspond to SHGC with the exception of an
24 overhang, which can adjust your SHGC - and we have a minimum
25 VT. And they would be categorized, whether you have a fixed

1 window, an operable window, curtain wall or storefront or a
2 glazed door. And the overall maximum window-to-wall ratio
3 remains the same. And once again the optimization procedure
4 was based on a fixed window and we used the same center of
5 glass that we found from the fixed window and the same frame
6 type - I'm sorry, I should also mention that. Same center
7 of glass and same frame type in terms of whether it was
8 solid aluminum or whether it was some sort of thermally
9 broke-in technology. And then we applied that same center
10 of glass and frame type to the operable curtain wall,
11 storefront, etcetera.

12 And then for skylights it is a similar story,
13 maximum U-factor, RSG and minimum VT, with the exception of
14 plastic, curve-mounted skylights, which will not have a
15 requirement on solar heat gain coefficient per the energy
16 saving benefits that I showed in that slide a few slides
17 back. Sorry, this was for nonresidential, this is for
18 nonresidential. And then Table 143(b) of the standards
19 applies to high rise residential, a similar story here.

20 And finally, the remaining work we have is we need
21 to still define exactly what the window types are. We will
22 look into, you know, sort of different definitions that are
23 available and look for what is most applicable here in
24 California. We need to develop a default VT table. Right
25 now in the standards there are default U-factors and default

1 solar heat gain coefficients in the forms of tables and
2 formulas. We need to develop the same thing for VT. And
3 there are some guidelines there. We will almost certainly
4 be using CMAST again for that. And then miscellaneous
5 documentation of the work that was performed and some minor
6 calculations left over.

7 So that concludes my presentation. Are there any
8 questions?

9 MR. SHIRAKH: Thank you, Eric. I really like the
10 simplification. You know, when you compare the Table 143(a)
11 and (b) of this proposal with 2008 you will see how much
12 simpler this is.

13 Any questions? Mike?

14 MR. GABEL: Mike Gabel, Gabel Associates. So when
15 you talked about looking at all those numbers of 2000
16 products, a lot of them windows, some skylights, those are
17 all NFRC-tested product. Were any of them storefront window
18 types that were included or how did that work?

19 MR. SHADD: So what we did in our energy model - no,
20 we used a fixed window type. And then once we found the
21 optimum for the fixed window type then we used the same
22 center of glass and the same frame type. We put that into a
23 curtain wall and storefront frame inside CMAST and then got
24 the VT, SHGC, etcetera, from that.

25 MR. GABEL: But, again, the assumption was that

1 everything you looked at was NFRC-like or NFRC-tested
2 product --

3 MR. SHADD: Um-hmm.

4 MR. GABEL: - that you assume would be readily
5 available in the market anywhere, everywhere. I mean, just
6 looking at those numbers they seem extraordinarily stringent
7 to me with respect to what kinds of products people usually
8 can obtain for typical office buildings. I mean, if you're
9 doing a huge building you will have a special testing done
10 and you might be able to do that. I'm just concerned about
11 smaller projects and projects where they are trying to get
12 off-the-shelf NFRC-tested product. And just looking at the
13 SHGC values, they just seem, you know, pretty low. So just
14 a comment.

15 MR. SHADD: Can I ask you a question, actually? Are
16 you referring to it would be difficult for a smaller project
17 to make a mock-up and then -

18 MR. GABEL: Well, for a smaller project they are not
19 going to pay for testing a product, they are going to try to
20 find product that has already been tested. And
21 manufacturers at the local level are just not necessarily
22 going to have NFRC ratings for a lot of glass types that,
23 well, you are looking at as ideal in the abstract but in
24 reality - I'm just commenting - it's just going to be kind
25 of tough. I don't know how this is going to filter out with

1 the performance method, to what extent you can offset this
2 with other features. But just my first look at this, this
3 is really quite a step.

4 MR. SHADD: So the one comment I will make in
5 addition to that is that CMAST is a software tool and it is
6 making it a lot easier to have windows rated. You would
7 basically - there is a database of windows that is being
8 created, windows and skylights, of course, that is being
9 created right now that corresponds to these - well, anyway
10 there is a database that is being created of all different
11 sorts of window types. And it is really a simple matter if
12 you use this software, you say this is the glass I want to
13 put in, this is the frame I want to put in, this is the
14 spacer and this is the gas and what is the rating. And you
15 pay an agency to do that.

16 And the hope is that, as this method for rating
17 window products becomes more prevalent and this library of
18 windows grows that it will be as simple as what you're
19 saying where you will just be able to say, oh, I'm going to
20 use this kind of window in my building and it's already been
21 rated and then we're done.

22 MR. SHIRAKH: CMAST has been up on NFRC's website
23 for a while now. Have you ever tried using it, Mike?

24 MR. GABEL: No, I haven't used CMAST. And I'm not
25 questioning the fact that it's a good piece of software that

1 is readily available. The issue is that when you spec a
2 project, especially smaller projects, they haven't really
3 thought through precisely in most cases how they are going
4 to meet the requirement. And so it's just this chicken and
5 egg problem. I mean, it will drive the industry, obviously
6 in theory, to looking at these issues earlier in the design
7 process, which is what you want to do. It's just - this is
8 getting back to CBA comments earlier, but education, that
9 this is perhaps going to be a big issue in the first year of
10 the standards for people to rethink how they are going to
11 design and meet these requirements earlier on than waiting
12 until the end of the process to figure it out, so to speak.
13 So that's my comment.

14 MR. SHADD: Right.

15 MS. BROOKE: This is Martha. I just wanted to ask
16 and then maybe mention as one more thing on your remaining
17 work to do, is did you confirm that there are products
18 already in the NFRC database that are certified at these
19 levels for the different window types or did you assume that
20 the products are available, they just haven't all been
21 tested and people are going to figure out how to use this
22 CMAST software to do that?

23 MR. SHADD: Well, in order for me to calculate these
24 they already had to be in the database. As far as a
25 complete -

1 MS. BROOKE: Okay, so all the large number of
2 windows that you put in your regression equation were all
3 from the NFRC database?

4 MR. SHADD: All of the products were already in the
5 database.

6 MS. BROOKE: Okay, so maybe the only issues are with
7 maybe these storefront windows or the other ones that are
8 fabricated -

9 MR. SHADD: The storefronts were -

10 MS. BROOKE: - onsite.

11 MR. SHADD: - also - I guess we could talk about it
12 in two different ways. So all of the products were
13 available. So in other words, specific frames by themselves
14 and specific center of glass assemblies and spacers and
15 such, they are already in this database right here.

16 MS. BROOKE: Okay.

17 MR. SHADD: It's a matter of assembling them
18 together into a complete product and then getting the rating
19 from that. That is sort of the difference.

20 MS. BROOKE: Okay.

21 MR. SHADD: But every number I have in here comes
22 from that.

23 MS. BROOKE: Okay, so it's the product versus the
24 pieces then that we have to -

25 MR. SHADD: Right.

1 MS. BROOKE: That's the challenge. Okay, thanks.

2 MR. RAYMER: Bob Raymer with CBIA. Martha just
3 asked one of my questions. The second one is: Generically,
4 as we've been mentioning at the past meetings, the question
5 is with the proposed standards is there product available on
6 a statewide basis, is there an adequate supply of product
7 available on a statewide basis? And Mike has a great point.
8 This also applies with, you know, some of the water stuff
9 that we're talking about and a few of the other systems.
10 And that will be a big education and training issue that
11 we're going to have to get over here.

12 MR. SHADD: Yes, my response to that is that, as I
13 mentioned before, four major manufacturers have this
14 product. So it is readily available.

15 MR. CULP: Good morning. My name is Tom Culp. Hi,
16 Eric. Eric and I have exchanged a few conversations but
17 haven't been in person yet.

18 MR. SHIRAKH: Who are you affiliated with?

19 MR. CULP: Birch Point Consulting. And just because
20 I am new to this group I would like to just explain who I am
21 a little bit. I've worked in the fenestration and glazing
22 energy efficiency world for the last 13 years. I work with a
23 number of the glazing companies as well as trade
24 associations. And, while I'm not representing them here
25 today, that is my experience both on the technology side as

1 well as energy codes. I'm a voting member of the ASHRAE
2 90.1 Committee as well as have been heavily involved with
3 IECC as well as their new International Green Construction
4 Code and I sit on the NFRC Board of Directors along with
5 Nelson (ph). So I've been involved in this area for a
6 number of years and just wanted to share some comments.

7 So first of all I would like to thank Eric and
8 praise him for the obvious hard work that has gone into this
9 and really appreciate the fact that he is using modern tools
10 like EnergyPlus and CMAST. So that's nice to see that
11 coming along. However, we do - and many aspects of this, I
12 think, are well done. But we do have some very serious
13 concerns about at least one aspect of that and that is
14 regarding the minimum VT. And so I would like to touch on a
15 few points. We will be submitting detailed written comments
16 but I did want to raise some of the points and questions.

17 First of all, it is absolutely wonderful that we are
18 continuing to look at daylighting because that is incredibly
19 important. However, our concern is that in the admirable
20 effort to simplify by going to a simple minimum VT it's the
21 wrong metric, it's overly simplistic. Daylighting is
22 complicated, it is complex, particularly in commercial
23 buildings. As an example, Hescong Mahone hosted a
24 daylighting forum workgroup last year with over a hundred
25 experts in the daylighting and energy code fields,

1 specifically looking at how do you codify daylighting. And
2 if there is one message that came out of that it is that
3 it's hard, you can't do it, it's very difficult, there are
4 many different approaches you can take. And VT is only one
5 aspect, you also have to look at distribution of the glass
6 laterally, up high, where is the light coming in, you have
7 to look at the size of the glass.

8 You know, this analysis if you are looking at, say,
9 a certain minimum VT is adequate at a 20 percent window-to-
10 wall ratio, what about a 30 percent window-to-wall ratio
11 that perhaps uses a darker glass but it's bringing in the
12 same number of lumens onto the work space. It's actually
13 doing a better job because it's spread out more and it has
14 a lower glare issue because less contrast between the wall
15 and the glass. Yet a simple VT requirement like this would
16 not allow that product to be used. So that's just an
17 example how daylighting is complicated.

18 And really I think something that would be of
19 concern is that this has the potential to work against your
20 goal and harm energy efficiency. You know, one example we
21 already touched on a little bit, was glare. If you go to
22 too excessive high VT are you going to lead to people
23 closing the blinds and turning on the lights? That's one
24 and I know we've kind of had a little bit of dialogue about
25 that. One answer is maybe using overhang. But if you use

1 an overhang are we including that overhang in the cost
2 analysis as well? I don't think so.

3 But more one of my concerns - because I work with a
4 number of glass companies and just in this field in general
5 - is have we looked at the whole range of products and
6 considered that this will introduce barriers to designs that
7 save more energy? Now, there are a couple of examples.
8 Have we considered what this would do with triple glazing?
9 What if someone wants to do better than the code and put
10 triple glazing in? They can certainly meet the U-factor and
11 they can meet either the solar heat gain or the VT but not
12 both. So this would prevent a barrier to the use of triple
13 glazing. And I know you can go the performance path. But
14 do we want to discourage the use of triple glazing? I don't
15 think so.

16 Same thing for these new configurations where you
17 use two low-E coatings, a number two surface and a number
18 four surface. That would not meet the VT requirement here.
19 So we are discouraging some new innovative approaches. We
20 talked about the triple-silver, low-E that is really kind of
21 driving this VT requirement. Have we considered that some
22 of the glass companies are developing new versions of the
23 triple-silver, low-Es specifically with lower VT to try and
24 balance glare and daylighting both? So you get that
25 selectivity, the lower solar heat gain, but you're balancing

1 VT. So it's about having the right amount of VT, not the
2 most VT.

3 What about a product that has lower solar heat gain
4 than what's listed here? It saves more energy overall,
5 cooling. But it would not meet the VT requirement because
6 you can't meet both, it is an overconstrain problem. This
7 would not allow that. This would also introduce barriers to
8 dynamic glazing, which I know one of the goals is to go to
9 zero energy buildings. But this would introduce a barrier
10 to the use of dynamic glazing, which is on DOE's road map to
11 zero energy buildings. The same thing for building
12 integrated photovoltaic. Again those can go on the
13 performance path. But do we want to introduce barriers to
14 those technologies?

15 So, you know, and of course our savings - I don't
16 want to get the wrong message here. Daylighting is
17 incredibly important. And savings that come from
18 daylighting, as Eric mentioned, really come from the
19 controls. And that was one question I think we need to look
20 at. Have we looked at the relative energy savings from the
21 daylighting controls versus the VT? You know, some of the
22 work done by Rick Mistrick at Penn State, a daylighting
23 expert, when you look at the savings that come from the
24 daylighting design 96 percent of the savings comes from
25 introducing the controls. The VT, whether you have low or

1 high VT, adds another four percent. So it's, you know,
2 relatively are we introducing all these barriers for
3 something that is really a small incremental amount? And I
4 think that's something Eric and I need to work through, is
5 where these percentages came through and the impact with and
6 without VT.

7 You know, there are some other questions I'll raise.
8 Laminated glazing used for safety glass, that would not meet
9 these VT requirements. So are we introducing a safety issue
10 there as well? But again, you know, I don't want to sound
11 too negative. It's just I think a lot of work and a lot of
12 things we need to look at here. And we will be submitting
13 comments and suggestions. You know, when you look at some
14 of the base codes, whether it's 90.1 or IECC, they are
15 tending to look at kind of VT, but not at this kind of level
16 and not as a flat minimum VT, it may be a ratio. But look
17 at the green codes. You know, California really wants to
18 lead the way, so let's look at what the International Green
19 Construction Code is doing or ASHRAE 189, which is now being
20 picked up by all Army facilities for green construction.
21 They are looking at effective aperture.

22 I know there is this concern of simplicity.
23 Daylighting is not simple, though. And so I think if
24 California wants to lead the way they need to look at what
25 the green codes are doing and adapt that into the base code.

1 But this, in my opinion, is actually going the opposite
2 direction. Now, if we do want to look at simplicity then
3 let's look at some of the other possibilities, New Buildings
4 Institute, a very proactive group, they helped rewrite a big
5 change to the IECC, a 30 percent change. I know you've
6 discussed that on the residential but there is a 30 percent
7 change in stringency for the commercial side, too. And a
8 lot of that was headed up by New Buildings Institute and
9 AIA. They took a completely different approach, which is to
10 introduce language about spreading the glass around and
11 having a minimum VT over solar heat gain ratio, but at a
12 much more moderate level and all in conjunction with
13 lighting controls.

14 So I will include that in the written comments. But
15 I think we need to look at some of these issues and try and
16 work through the best solution that will promote daylighting
17 but also not have unintended consequences. Thanks.

18 MR. SHIRAKH: What is your solution, get rid of VT,
19 have a different level of VT, go to effective aperture?

20 MR. CULP: I think it was an admirable goal to try
21 and simplify but going to a flat simple minimum VT there are
22 all sorts of nuances and problems with that. So I think we
23 need to go away from the minimum VT. Now, I'm not saying do
24 no VT. The solution is either, in my opinion, to look at
25 effective aperture. Maybe we can look at other ways to make

1 that easier to use in the enforcement community. But
2 effective aperture is a much better way to look at
3 daylighting design. Beyond that, if we don't want to go
4 that direction then there are other prescriptive ways that
5 were talked about by the New Buildings Institute. It's more
6 than just one simple number, but a couple of provisions that
7 would then hopefully lead to better daylighting design but
8 also with more flexibility to avoid these problems.

9 So, I mean, it's not something I can tell you right
10 now but I will put it in our comments.

11 MR. SHIRAKH: Yes, I appreciate your written
12 comments. Eric, do you have any reactions to this?

13 MR. SHADD: Well, no. I had a couple of things to
14 say and I do look forward to reading the written comments.
15 Like you said, this is something that is not just going to
16 be able to be talked out right now.

17 The first comment was, you mentioned barriers to
18 things like electrochromics and thermochromics. I don't see
19 that this a barrier at all to those technologies. I don't
20 think electrochromics or thermochromics are close to being
21 part of a prescriptive standard and I think that pretty much
22 no matter how the standard turned out now those would have
23 to be pursued in the performance approach at this point. I
24 don't think we are proposing a very radically high VT as
25 well and I think 0.44 is reasonable. And finally, some of

1 the groups that you've mentioned are mainly consensus-based.
2 In other words, they are looking to find agreement among a
3 committee which is composed of people with many different
4 interests in the final product. Whereas, I believe this
5 process is more driven by a cost effectiveness sort of
6 criteria.

7 Yes, we will talk more offline.

8 MR. CULP: Yes, we will continue the dialogue. Just
9 real quick regarding the numbers, just for other people in
10 the room who aren't familiar with NFRC and all of that, you
11 have to be careful about the numbers because it is not
12 intuitive. Because the VT number includes the frame as
13 well. So if you have a casement window it may have a 3.5
14 inch frame, the glass may have a high VT but because of that
15 frame - you know, you say a 44 is not very high. Well, that
16 may be true if you are talking about center of glass. But
17 when you put that in a frame that is actually a very high
18 number for some of these products.

19 MR. SHIRAKH: That's a good point. Because all the
20 numbers here are for the total fenestration, it's not center
21 of glass. Any other comments?

22 MR. SHADD: Sorry, if I could just respond to that
23 really quickly. That's why we went to fixed operable and
24 such and you can see operable is 0.33. And for the fixed
25 frame we went with a wider frame than usual. So operable is

1 0.33. And you're right, these do represent whole window,
2 yes.

3 MR. SHIRAKH: This is a classic example of
4 simplicity versus flexibility.

5 MR. ZEREMBA: Tom Zaremba, I'm with Roetzel &
6 Andress. I represent Pilkington North America AGC Flat
7 Glass North America, two of the major manufacturers of flat
8 glass in the United States. And I'll make my comments very
9 briefly. I've been involved in all of the discussions of
10 ASHRAE and IECC over the last several years relative to the
11 introduction of VT issues into those codes and also at the
12 new IGCC, the Green Construction Code, proceedings. And
13 I've also been involved in the glass issues relative to
14 building codes for at least the last 30 years, almost 30
15 years, as much as I hate to say that. But in any event I
16 have to.

17 One thing I have found is that there simply is no
18 silver bullet when it comes to, Let's pick one type of glass
19 and use it everywhere, that's the way we're going to do
20 things. And this proposal pretty much does that. It says
21 we're going to have one type of glass everywhere in the
22 state no matter what the climate zones, no matter what the
23 orientation, no matter what the physical conditions, no
24 matter what the design, no matter what. We're just going to
25 have one type of glass in these buildings. There is no

1 silver bullet. Glass is dependent upon a number of factors.
2 And I think one of the most critical factors that was
3 described came up during, I think, questioning by Martha
4 here. And that was that the savings from VT is tied
5 directly to lighting controls. The problem is that if the
6 VT is high enough it lets in so much light that human
7 override says shut the drapes, turn on the lights and
8 override the controls.

9 Now what you've done by a high VT glass is you have
10 increased the occupant's use of energy in that building.
11 And, of course, commercial buildings are in very large
12 measure driven from an energy consumption standpoint from
13 internal lighting controls or designs. Look in this
14 building. There is no VT whatsoever. The lighting is
15 specifically designed in a way that it is the right levels
16 of light to work in. A high VT glass in a commercial
17 building is going to let a lot more light than you have in
18 this building or in this room into that room. When that
19 happens, if the human occupants are uncomfortable they will
20 simply override the VT, they will override the lighting
21 controls, they will increase the energy usage of the
22 building by using artificial lighting instead of relying on
23 the natural lighting. In addition to which you have the
24 problem that if the discomfort of those occupants becomes
25 such that the building occupants find it intolerable then

1 you'll have aftermarket applications of films and other ways
2 to reduce the amount of VT that is brought into the
3 building.

4 So there are ways to address this. The codes are in
5 the process of addressing it. Neither the IECC, ASHRAE or
6 any of the green codes that I've been involved with have
7 taken an approach that would be as simple as one which could
8 ultimately actually increase energy usage. And, of course,
9 that's why they don't take as simplified an approach as this
10 because of their concern that if we do take this type of
11 simplified approach we actually going to increase total
12 energy usage of the building.

13 MS. BROOKE: Can I ask you a question? In your
14 experience have there been studies done that shows that a
15 certain level of VT does drive occupants to shut blinds?

16 MR. ZAREMBA: Well, the Times Building in New York
17 City examines in intimate detail the interrelationship
18 between lighting controls, shading and occupant comfort. So,
19 yes, there are. And those are well known studies. I can
20 tell you that I'm in a commercial office building with a 20
21 percent VT. And I've been in that building for almost 15
22 years. And what happens is the closing of the shades
23 follows the sun around the building. And as a result all of
24 the efforts to utilize lighting controls are overridden,
25 even at 20 percent.

1 MS. BROOKE: Okay, thanks.

2 MR. SHIRAKH: It seems like you are okay with the U-
3 factor and SHGC proposals. It's the VT that seems to be -

4 MR. ZAREMBA: Well, if you pull the VT out of this -
5 I'm looking at this as a whole document. And so my concern
6 is that these numbers evidently are intended to kind of fit
7 together. When you do fit them together in these types you
8 wind up with a single product. And my concern is that those
9 relationships fail to take into account the climate zone
10 you're in, they fail to take into account orientation,
11 potential shading issues, human overrides. There are so
12 many factors that I have not looked at SHGC separately to
13 answer the question. I know these are extremely low
14 numbers, the SHGC values are extremely low. And if you're
15 in a climate zone even in California where you are in a
16 heating-dominated climate these numbers are very, very low
17 and they are going to leave an awful lot of energy on the
18 table perhaps related to solar gain, to use that.

19 But, again, in many commercial buildings,
20 particularly in the climate zones in this state, I think
21 you're going to find that there is a very high level of
22 dominance from an energy consumption standpoint from the use
23 of electrical loads, energy, lighting loads. And that's my
24 concern, is that these VT and SHGC numbers are almost
25 guaranteed to result in override, human reaction overrides

1 involving shading and overriding of the lighting controls to
2 return to a lighting that is comfortable to work in.

3 MR. SHIRAKH: The previous speaker suggested going
4 back to the effective aperture or some kind of simplified
5 version of it. Would that be preferable?

6 MR. ZAREMBA: That is the most energy efficient way
7 to address VT, SHGC and lighting, in my view. There are
8 even simplified versions of that. The green codes have
9 picked up effective aperture because they recognized
10 throughout the discussion periods that if you truly want
11 energy savings and reduced lighting loads effective aperture
12 is the way to do it. The standard codes, the minimum codes
13 picked up simplified methodologies in order simply to
14 address the issue of lighting. And, of course, that was the
15 New Buildings Institute and AIA developed proposals in the
16 IECC, which come out in 2015.

17 MR. SHIRAKH: Can you include those in your written
18 response?

19 MR. ZAREMBA: Oh, absolutely, we intend to.

20 MR. SHIRAKH: All right, thank you. George?

21 MR. SHADD: Could I have just -

22 MR. SHIRAKH: Yeah, we need to kind of move on to
23 the next topic.

24 MR. SHADD: Okay.

25 MR. SHIRAKH: I only want to spend about five more

1 minutes on this because we need to move on.

2 MR. SHADD: All right.

3 MR. SHIRAKH: Okay, Eric, can you quickly respond to
4 that?

5 MR. SHADD: Well, I just wanted to say that the
6 prescriptive standards are not intended to be a silver
7 bullet for every application and that the prescriptive
8 standards are intended to be an optimal solution for a
9 reasonable number of buildings here in California and they
10 have always been very specific in what sort of building they
11 specify.

12 And also in regards to blinds, I think we answered
13 that in the presentation. And in terms of solar gain,
14 climate zones where solar gain is beneficial, we looked at
15 that as well, we looked at passive solar gains in the colder
16 climates. And it never turned out to be cost effective,
17 even though some energy was saved.

18 MR. SHIRAKH: Cathy then George and then we go to a
19 question online and then I want to move on.

20 MS. CHAPPELL: Cathy Chappell, Heschong Mahone
21 Group. I just wanted to point out that we are dealing with
22 effective aperture issues with the daylighting case work
23 that both Tom and Tom have been involved with. And that may
24 be Mudit Saxena, who is the case author, that is on the
25 line. If we want to talk about that further we can.

1 Otherwise, we can respond to written comments and we've been
2 working with Eric on those issues

3 MR. SHIRAKH: Okay, thank you, Cathy. George,
4 quickly.

5 MR. NESBITT: George Nesbitt, Environmental Design
6 Build, CalHERS passive house, California. I just want to
7 bring up the issue of residential being in the
8 nonresidential standards, a little oxymoronic since DHW and
9 lighting fall then under the low rise residential standards
10 for high rise residential.

11 The problem is on windows because of the low solar
12 heat gain coefficient required because it is high rise, what
13 that does is makes most high rise residential really hard,
14 it makes the cooling budget, especially in a non-cooling
15 climate, end up being 40 times larger than heating budget.
16 We're talking about buildings that are not air-conditioned,
17 don't need to be air-conditioned. If you take the same
18 building and model it low rise versus high rise the TDV
19 energy use doubles as a high rise. And so, you know, I
20 think when it comes to high rise residential, A, it should
21 not be in the nonres standards, B, windows should follow the
22 low rise at least up until you get to maybe a certain
23 percentage of glazing. I mean, if you want to build a high
24 rise all glass building, you know, and do something stupid
25 like that obviously you're more likely going to need that

1 low solar heat gain coefficient.

2 And to kind of echo the previous commenter's
3 comment, the question is when it comes to windows and
4 residential and possibly even nonresidential is it possible
5 we've saved TDV energy yet actually not saved any real
6 energy? So, you know, we increase the heating use, we
7 decrease the non-existent cooling use, we've saved TDV but
8 we've actually increased energy use over what we could have
9 had.

10 MS. BROOKE: I'd say it's not possible but that's
11 only my opinion.

12 MR. NESBITT: Maybe I'll go noodle on the computer.

13 MR. SHADD: Okay, so in response to that, you said
14 that it uses 40 times more energy. Maybe we can take a look
15 at what models you used. In our models it sort of obviously
16 did not do that. Another thing I'll say is that hearing
17 loads, you know, when you're talking about TDV, electrical
18 loads can be as high as 20 times - can have a 20 times
19 higher value for electrical loads versus heating loads. I
20 think for a high rise building to use 40 times more - I
21 don't know, I think we need to talk more about that and talk
22 about the numbers.

23 MR. NESBITT: Yeah. I mean, I can show you real
24 runs from real projects in real climate zones.

25 MR. SHADD: Okay.

1 MR. NESBITT: You know, four or five story.

2 MR. SHADD: All right, let's talk more then.

3 MR. SHIRAKH: Thank you, George. There is a
4 question online and then we will move on.

5 MR. SAXENA: Thank you. This is Mudit Saxena from
6 Heschong Mahone Group. Can you guys hear me fine?

7 MR. SHIRAKH: Yes, we can.

8 MR. SAXENA: Okay, thanks. So I've been listening
9 to the comments online and I've also talked with Tom Culp
10 about his concerns about this. And I just wanted to make
11 two small comments and then I will take myself offline so
12 that you can move on. One was that we need to look at this
13 thing in its entirety. We're looking at the prescriptive
14 portion of the code, which is requiring the minimum VT. I
15 think that if you look at the envelope tradeoff method and
16 also the performance method it allows you to get out of the
17 minimum VT requirement if the designer so wishes.

18 The second thing I wanted to say is that we've
19 looked at the issue of glare and blinds very carefully and
20 there is a lot of research, a lot of effort that's been done
21 by us, a lot of it that has been done by others including
22 the one that Tom mentioned, which is the New York Times
23 study, which actually show that people are actively engaged
24 with their blinds and they tend to open their blinds, they
25 override an automatic signal to close blinds and leave them

1 open more often than not. So everything that we've been
2 finding out through this research - and this is a developing
3 field - but everything we've looked at until now tells us
4 that people actually like having more daylight into the
5 space. And when there is a problem with glare they close
6 the blinds and then they actively use those blinds to open
7 it again to get back the view.

8 So we want to maximize the ability of lighting
9 controls to work when those blinds are up. And what were
10 trying to do here and what Eric is trying to do with the
11 minimum VT, which really works very well for the daylighting
12 portion of the code, is it provides a simple method for
13 people to get good energy efficiency. There are other ways,
14 there is the performance method which gives you an out as
15 well. So I know there will be some comments from Tom,
16 written comments, and I look forward to working with you on
17 that, Tom and Eric. Thank you.

18 MR. SHIRAKH: Thank you.

19 MS. BROOKE: This is Martha. Just one quick thing.
20 It seems to me that maybe what we could do to facilitate the
21 discussion is for staff to combine the daylighting proposals
22 with this proposal so people could see the entirety of the
23 window. You know, because there have been these comments
24 about effective aperture, well, we think we have that but we
25 didn't tell you about it. And that way you would know the

1 entirety of what we're attempting here.

2 MR. SHIRAKH: Sounds like a good suggestion. I see
3 a lot of heads nodding. If you have any other questions
4 related to this topic we can probably come back to this in
5 the afternoon during the public comment or you can send us
6 your written comments and we will consider it. Thank you,
7 Eric.

8 We're going to move to our next topic, which is the
9 upgradable setback thermostats. And Josh is going to
10 present that one.

11 MR. RASIN: So we will jump into this. It's the
12 upgradable setback thermostats presentation. I'm a Josh
13 Rasin with the Heschong Mahone Group. We have been working
14 closely with Mazi and the Energy Commission. And just a
15 quick overview.

16 This is our requirement for setback thermostats. It
17 replaces the existing requirement for setback thermostats
18 and calls them upgradable setback thermostats. The
19 upgradable component of that language refers to the ability
20 to add communication to the thermostat without the use of
21 any tools. Communication will enable the end-user to shed
22 AC load if they are voluntarily participating in a demand
23 response program. With the removal of that communication
24 it would function the same as the existing setback
25 thermostats. This would require change in language of

1 Section 112(c), which is the requirement for space
2 conditioning equipment and Section 150. And this does not
3 allow for trade-off against other building features as
4 required here. This requires a default of a four degree
5 Fahrenheit setback by the UST in response to demand response
6 signals but that setback can be changes, it's user-defined,
7 and it can be overridden anytime by the end-user.

8 So to do a little background here of why we're
9 talking about demand response. The purpose of the UST, the
10 upgradable setback thermostat, is to help enhance grid
11 reliability and prevent rolling blackouts which would knock
12 out power in an entire neighborhood. These rolling
13 blackouts only occur very rarely during really critical peak
14 periods and no more than a few hours a year. It is not
15 really economically feasible to build large power plants to
16 meet this load for only a few hours a year. Demand response
17 is a much more cost effective option. Additionally, the
18 California utilities are moving towards peak day pricing,
19 which changes the price of energy at different times of day
20 to relate to how much they are having to pay for it at the
21 wholesale level. So it this passes this cost of delivering
22 power during these critical periods on to the consumer
23 rather than average them into the summer rates, as is done
24 now.

25 This creates an opportunity for consumers to manage

1 their bills actively and save energy when it costs the most
2 to them so they have the greatest savings. Studies have
3 shown that enabling technology helps provide twice the load
4 impact using a demand response program as just using pricing
5 or incentives alone. Customer participation in the DR
6 programs and events is still voluntary. No one is required
7 to do anything but you are going to pay the price literally
8 if you choose to do nothing. And so we are helping bring
9 the UST in as that enabling technology.

10 MR. RAYMER: Could I ask a quick question?

11 MR. RASIN: All right.

12 MR. RAYMER: Can you go back to the last slide? And
13 this is just the format of your slides. That last line is
14 really important. When you print out what you've got on the
15 CEC website right now the word "voluntary" doesn't appear.
16 You see "customary participation in DR programs and events
17 are" - end of page - and then you start the next page. That
18 would be very important to get into that.

19 MR. SHIRAKH: Thank you, Bob. Good point.

20 MR. RASIN: Okay, thank you.

21 So why demand responsive thermostats? According to
22 the CPUC, residential and commercial air conditioning loads
23 represent at least 30 percent of the summer peak electricity
24 loads so this is a great target for bringing down that
25 summer peak. And the reference design that we're developing

1 for the upgradable setback thermostat helps for demand
2 response for all manners of appliances and devices, not just
3 thermostats. Other loads are becoming more easily shed as a
4 part of demand response. I've listed a couple of examples
5 here of lighting, refrigerators, washing machines, power
6 strips, all those sorts of things. You know, a refrigerator
7 can turn off its defrost cycle or an anti-sweat heater and
8 this requires a simple logic of a yes/no, is there a demand
9 response event. And we're helping set the framework and the
10 ground work to do this for not just thermostats but all
11 over. We're just doing it via thermostats here. And this
12 would help give the end-user multiple avenues of
13 participating in a demand response event or demand response
14 program to get the savings they want on these peak days by
15 choosing what end use loads they feel they can shed most
16 easily.

17 This is just the existing language, what is in the
18 code right now under 2008 Title 24. It requires setback
19 thermostats in all unitary heating and cooling systems,
20 including heat pumps, that are not controlled by a central
21 energy management control system. That's the same
22 requirement that is triggering now. So in the same
23 instances where you're putting in a setback thermostat we
24 are now requiring this upgradable setback thermostat.

25 I want to give a little background. In 2008 there

1 was a proposal for a PCT and this was a very contentious
2 proposal. It had a built-in one-way communication using an
3 RDS system, added an expansion slot to allow utilities to
4 utilize a different communication method, and it required
5 participation by customers in emergency events. And this
6 was a big deal, this was not giving people the control they
7 wanted over their own devices. And so what we've done for
8 this code cycle is something very different. We've taken
9 all these comments, we've taken these concerns and we think
10 we've addressed them in a way that allows everyone to get
11 what they really want out of this device.

12 So this is the 2013 UST proposal. There is no more
13 mandatory participation in emergency events. There is no
14 more mandatory participation in any events. Everything that
15 is done by the UST is because the user decided they want to
16 be involved in a demand response event. We added the
17 requirement to allow for physically disabling the
18 communication component of the thermostat. And we will get
19 into the details of that in a little bit. But part of it is
20 that the communicating component can actually be physically
21 removed. You don't have to enroll in a DR program, you
22 don't have to have the communication there. But a lot of
23 people want that. You know, we have cell phones that
24 connect to everything, they want to be able to control their
25 thermostats from anywhere that they are. This allows them

1 to do that.

2 We set a default demand response of four degrees, as
3 I mentioned, but that can also be changed by the user.
4 Maybe they are more comfortable with a two degree setback,
5 maybe they want more savings and they want a six degree
6 setback. They have the option to do that. As I iterated
7 before, the participation in the DR program is voluntary,
8 it's their choice to do this.

9 So we did some technology surveys and the technology
10 that would meet the requirements of this code would be in
11 two basic configurations. One would be a plug-in interface
12 where you have the removable communication device and USNAP
13 is an example of a model that fits that description.
14 Another option would be having a built-in communicating
15 device, you know, it could be built-in Wi-Fi or Zigbee or Z-
16 wave, whatever the person chooses. And that would have to
17 be able to be turned off by a switch on the thermostat case.
18 And that is an exception that allows this particular device
19 with this built-in communication into existing buildings.
20 The new construction requires that the communication
21 component be removed completely if the consumer changes, but
22 in existing buildings through a retrofit application perhaps
23 you could put in a communicating device. And the idea there
24 is that in a retrofit situation you have someone who is
25 already living there, they know what kind of communication

1 they want. If they want a Wi-Fi thermostat they can go get
2 that. But in new construction it may be a developer who is
3 developing this building and you don't know who is going to
4 live there yet and so they don't know what kind of
5 communication they might want. So you leave it as a port.
6 The end-user can come in when they move and plug in whatever
7 suits their purposes.

8 So we've done a couple of surveys and we found that
9 communicating thermostats are currently available at a
10 variety of price points. We sent out a manufacturer survey
11 that had very brief responses and then we followed that up
12 more recently with - we went on Home Depot.com and looked at
13 what were the communicating thermostats that are currently
14 available. And we found there is a seven-day touch screen
15 programmable thermostat at price points of sixty and a
16 hundred dollars. The sixty dollar one is just a standard
17 setback thermostat currently meeting code and the one that
18 costs \$99.88 is a thermostat that has two USNAP ports and a
19 Wi-Fi module included. So about a forty dollar price
20 additive there to include this communication that would meet
21 the requirements we're asking for now.

22 We also looked at another communication module that
23 adds Insteon capabilities, which is a smart home automation
24 network, and that's about \$96.00 and it plugs in via a
25 standard jack and can be unplugged also. So we took the

1 average of these two points to get this \$68.00 figure and
2 that is approximately an incremental cost. Now this is what
3 is currently available right now before there is any
4 requirement for communicating thermostats. It's reasonable
5 that once this requirement goes into effect more
6 manufacturers develop products that specifically meet this
7 requirement and the product cost would come down, both in
8 the near term, 2014, and the long term, 2020, 2030.

9 We estimated the effective useful life of 15 years.
10 That is according to an older version of ASHRAE. The newest
11 version does not have enough data to support an estimate of
12 useful life of a thermostat. So for argument's sake we're
13 sticking with 15 years. We assume with that 15 year life
14 cycle we have to do cost analysis and savings analysis for
15 the nonresidential and residential sector because this is
16 affecting both. The residential sector uses 30 year TDV
17 values, so that's over 30 years. That's assuming that you
18 would have a thermostat for the first 15 years and replace
19 it and another thermostat for the next 15 years. We decided
20 to assume that after the first 15 years the incremental cost
21 of this technology is going to be zero. It's going to be
22 widespread enough that we are already talking about 40 to 60
23 dollar adder. After 15 years that should be down to a
24 couple of pennies at most.

25 So we made some basic savings assumptions to run the

1 savings analysis. We started with the idea that customers
2 are going to be on a time of use rate that has some sort of
3 peak day pricing or critical peak pricing element to it.
4 And that's the default rate, that is currently the default
5 for many large commercial customers in IOU territories and
6 it is going to be the default for residential customers in
7 the future. We identified the top one percent of TDV hours,
8 which made for 88 hours annually, and since those are the
9 highest value hours those are the hours where the high price
10 will be passed on to the consumer and therefore would be
11 utilized as demand response events. We modeled the energy
12 impact of a four degree setback during each hour. And then
13 we made some assumptions about people participating. We
14 assume that 70 percent of the customers are going to remain
15 enrolled in this default rate as a time of use critical peak
16 day pricing and approximately 30 percent will choose to opt-
17 out. They will have an alternative that does not involve
18 them in any demand response events.

19 So then of those 70 percent that are remaining in
20 the event we assumed that on any given hour 10 percent will
21 override what the thermostat is doing automatically. So for
22 residential models we use MicroPass to model and we use
23 Standard Prototype D and E, which is for the single family
24 and multi-family dwellings. And we had to model it by
25 climate zone. For the single family model we modeled this

1 Prototype D in every climate zone. We have the estimated
2 electricity savings, demand savings, and the TDV dollar
3 value over that 30 year life cycle that we talked about.
4 For the multi-family dwelling we picked some sample climate
5 zones that we thought helped show the range of weather in
6 California and so therefore would be representative. There
7 were some time constraints so we did that for every model
8 other than the single family.

9 So as you can see here, demand savings varies,
10 electricity savings as the kilowatt hours. And electricity
11 savings and demand savings are one year, it's 88 hours. And
12 that is per thermostat. So the multi-family dwelling has
13 eight units in it, each of those units is having this level
14 of savings. And you can see in Climate Zone 5 the weather
15 file shows very low cooling load that we are using and
16 therefore there is no savings from adjusting your thermostat
17 on a hot day. In all the other climate zones there is some
18 savings taking place, you know, from \$71 to \$4000 in a
19 single family.

20 This just shows graphically, the blue bars are the
21 single family savings, the purple are the multi-family, and
22 the green line - it's a little small, it's right at the
23 bottom - that is the incremental cost, that's that \$68. So
24 you can see in almost every climate zone the savings well
25 exceed the incremental cost. And we're talking about

1 factors of two, three, seven to one and more. What that
2 means is, let's say that the thermostat is not on one day or
3 two days or three days of those 16, 20, 30, 80 hours a year.
4 You still have enough savings from the thermostat shutting
5 off when you are running the AC that it pays for this
6 incremental cost.

7 On the nonresidential side we started with an office
8 model that had three stories and five zones, a core zone and
9 four perimeter zones. And this gave us a variety of
10 options. It had different levels of glazing, different
11 orientations, you know, the core has no glazing. So we
12 could look at the average sort of effect on all these
13 different types of office spaces. And then to get an idea
14 of what would happen in the retail sector we changed the
15 occupancy parameters. So we changed the density of
16 occupants, we changed the equipment plug load, the lighting
17 power density, all these different factors according to the
18 nonresidential ACM for retail buildings to give an idea of
19 what it would like in the retail sector.

20 And as you can see, here are the savings again
21 modeled for these representative climate zones, 3, 6, 9, 12,
22 14 and 16. And we have savings again ranging from a couple
23 of hundred dollars, and this is per thermostat. So the
24 office model had 15 separate zones that we average across.
25 So the entire building would have 15 times the savings

1 because we are looking at each zone individually, each
2 thermostat. And the reason we do each thermostat is that
3 this is applying to unitary air conditioners. So one
4 thermostat at a time, it makes sense to analyze it
5 individually.

6 This is again graphic representation. The red line
7 is the cost of the thermostat and the green and blue are the
8 savings on a 15 year nonresidential TDV cycle.

9 So the actual language, what you've all been waiting
10 for. So this changes the language to require an upgradable
11 setback thermostat in place of the requirement for a setback
12 thermostat previously. It requires upgradable capabilities.
13 So it says right here, "UST shall not include onboard
14 communication devices but shall have one industry standard
15 expansion communication port that allows for the
16 installation of a removable communication module." When you
17 the module it will function normally as a normal setback
18 thermostat and when you insert the module you will be able
19 to receive demand response signals. And we identify how the
20 response to demand response signals will be.

21 So we identify specifically price events. The
22 default setback for the thermostat in response to a price
23 event is four degrees Fahrenheit, it sets up four degrees
24 Fahrenheit if you are in cooling mode, it sets down four
25 degrees Fahrenheit if you are in heating mode. However, the

1 occupant has the option of defining those set points as they
2 see fit, as fits their needs. If there is an emergency
3 event - and this is sort of in the situation where a
4 blackout is imminent and we're trying to shed load to avoid
5 shutting power off to everyone - the UST can respond to a
6 specific offset contained in that emergency signal. The
7 user still has the option to override and change that as
8 they see fit. But generally we hope to never get in this
9 situation. If we do we have the option of hopefully
10 avoiding a blackout, which is hugely problematic for the
11 economy and for the way the state operates at all.

12 So as I mentioned, the overhead function - all DR
13 events, price and emergency events include a physical
14 override function which when activated by the occupant
15 restores the setback thermostat to the conditions
16 immediately prior to that event. Here are some more details
17 about what sort of capabilities need to be onboard and they
18 are going to be described even further in the reference
19 joint appendix, it's a technical reference document that
20 will be distributed later.

21 So basically the expansion port shall be easily
22 accessible to the occupant and you should be able to insert
23 it and remove it without the use of tools. We don't want
24 you to have to rewire anything or install your own
25 communication module, this is just a simple pop it in and

1 pop it out and you're good to go. It should provide user
2 information such as the type of event, whether it's a price
3 or emergency event. A lot of thermostat manufacturers will
4 probably lean towards actually displaying what the price is
5 so you can make an informed decision about how you want to
6 react to it. There is a standardized terminal mapping.
7 This is to help insure that the marketplace - you can put in
8 a module that you want, you can go buy it at the store.
9 Okay, I have this kind of thermostat, I know I want to be
10 able to receive Wi-Fi, I want to be able to receive Zigbee,
11 I want to receive a specific type of signal. Maybe they
12 want to receive a signal for some sort of home network they
13 already have set up. This will allow the market to develop
14 solutions to meet everyone's needs.

15 The ability to randomize. So one issue with
16 thermostats is can be what's called a rebound effect.
17 Immediately after a demand response event everyone's AC
18 turns back on and you have a spike in load. The ability to
19 randomize the setback after the end of the event prevents,
20 sort of mitigates the effect of that rebound and sort of
21 smoothes it out so that we still have energy savings
22 overall. And as I mentioned, the capability for the
23 occupant to restore the default temperature offsets and set
24 points is included as a requirement for the thermostat.

25 So the existing exception is there for gravity gas

1 wall heaters and room heaters, etcetera. Another exception
2 is other devices that are approved by the Executive Director
3 providing comparable heating and cooling systems and demand
4 response functionality would be approved. That's a separate
5 issue that would happen with the Executive Director after
6 adoption of the code. And, as I mentioned earlier,
7 thermostats that are installed in existing buildings or
8 additions to existing buildings may be equipped with the
9 onboard communication. It doesn't have to be a port, it can
10 be built into the thermostat device as long as there is a
11 switch that provides for the occupant to be able to turn it
12 on and off without interrupting functioning of the setback
13 thermostat.

14 Are there any questions?

15 MR. SHIRAKH: Thank you, Josh. Mike Hodgson?

16 MR. HODGSON: Mike Hodgson, ConSol, representing
17 CBIA. Josh, just some general questions I think. The
18 thermostat that you were pricing that was \$96 at Home Depot
19 does what you want in Section 112, correct? So it meets
20 those standards?

21 MR. SHIRAKH: Yes.

22 MR. HODGSON: And the entity that is going to be
23 sending out this signal is going to be the utility to do a
24 setup, right?

25 MR. SHIRAKH: Yes.

1 MR. HODGSON: So in general, I mean, that's what the
2 state is after is the ability to setup during peak loads.
3 So have the utilities agreed to the technical description of
4 these thermostats? Do we have, you know, Edison and PG&E
5 and The Gas Company all agreeing to these thermostat
6 requirements that you're proposing in 112?

7 MR. SHIRAKH: Well, we've had a lot of discussion
8 with them and I think they are all onboard.

9 MR. HODGSON: Okay.

10 MR. SHIRAKH: I mean, Carlos is sitting there and,
11 you know, he can talk on behalf of SCE. But the point that
12 was made earlier, the cost to the builder is about \$60.

13 MR. HODGSON: Right.

14 MR. SHIRAKH: So the ports, the inserts will be
15 provided by somebody else other than the builders. So to
16 you guys it's only sixty bucks. So the difference between
17 what you're paying for setback thermostat and \$60 is the
18 cost to you.

19 MR. HODGSON: Right. I don't think we had a problem
20 last go-round with this concept other than the political
21 impact of it from other forces.

22 MR. SHIRAKH: Right.

23 MR. HODGSON: What we want to make sure is that we
24 are not buying four different devices for four different
25 service territories, that we would buy a single device that

1 is readily available.

2 MR. SHIRAKH: The beauty of the concept of having -
3 just buying a setback thermostat with an empty port is that
4 this is truly a universal thermostat. You know, they can be
5 sold anywhere in the state, be put in any service territory,
6 the local utilities, SMUD, PG&E, SCE, they can provide a
7 module that works with their system. And then the occupant
8 can choose to put it in or remove it at their discretion.

9 MR. HODGSON: Okay, so we're buying a thermostat
10 that doesn't have the module that allows -

11 MR. SHIRAKH: Does not have a module.

12 MR. HODGSON: - it to setup but it has the port that
13 then a third party would give the occupant.

14 MR. SHIRAKH: Right, what you guys -

15 MR. HODGSON: - which the home building industry is
16 not responsible for.

17 MR. SHIRAKH: - are putting in is basically a
18 setback thermostat like you've always done with at least one
19 empty port. It's up to the occupant to populate that with
20 some kind of a module.

21 MR. HODGSON: Got it. Thank you.

22 MR. SHIRAKH: Tim? Oh, okay.

23 MR. STEINBERG: Hi, John Steinberg from EcoFactor.
24 We very much agree with and support the goals that you were
25 talking about, Josh, and the goals that we see the CEC

1 trying to accomplish here, the idea of zero net energy
2 homes, the idea of integrating demand response with energy
3 efficiency. And nobody talked explicitly about this but
4 obviously the reason why you want to do DR is for grid
5 reliability. We strongly support the idea of communicating
6 thermostats. We think that that's a vital tool for
7 accomplishing those goals.

8 But we are very concerned that this standard as laid
9 out in Appendix JA5 actually will not help accomplish any of
10 those goals. And I was very pleased to hear what you were
11 saying, Josh, which I think is supportive of a lot of the
12 goals that we're trying to accomplish. But it seemed very
13 different from what I got from the Joint Appendix, which I
14 read for the first time about 36 hours ago. And reading the
15 Joint Appendix sort of with a fresh set of eyes what the
16 appendix told me, what I inferred about the goals of the
17 people who wrote that appendix, was that a communicating
18 thermostat is primarily a tool for demand response as
19 opposed to other goals like energy management, which I will
20 talk more about; that residential air conditioning loads can
21 and should be controlled by utilities; that in effect only
22 utilities should be able to connect to those thermostats;
23 that a communicating thermostat, the communication aspect of
24 a thermostat, has no real value to a consumer. And, sort of
25 going along with that, the idea that energy efficiency just

1 never appears anywhere in that standard as something that
2 communicating thermostats can help with. And then, finally,
3 the choice in effect that the standard creates for a
4 consumer is that you can have a thermostat that participates
5 without you as a consumer ever doing anything, that
6 participates by itself in utility DR events, in effect has a
7 mind of its own; or you can pull the radio out and not
8 participate in DR events. But you can't have a
9 communicating thermostat that doesn't participate in DR
10 events.

11 And I understand from what you were saying that some
12 of the intention was different from that. But I think my
13 interpretation of the document was very different from that
14 intention. And I will say that we will absolutely submit
15 written comments and I would welcome the opportunity to talk
16 in more detail with you guys about the specifics of this.
17 But I think the most important thing that is missing from
18 that specification is the consumer value proposition. Why
19 would a consumer want to have a communicating thermostat in
20 their house? I think from an individual self-interest
21 standpoint the DR benefits of a communicating thermostat are
22 not going to be compelling and are not going to be
23 sufficiently motivating to get people to actually plug
24 radios into these things once they are on walls.

25 Let me back up a little bit. We are an energy

1 management service and we are optimizing communicating
2 thermostats primarily for consumer benefit. We also do DR
3 and I will just talk very briefly about that as well. But
4 what we're doing is saving consumers hundreds of dollars a
5 year using a communicating thermostat with or without
6 utility involvement. We have proven now - we have data that
7 just actually got released today that shows that we are
8 saving people between 15 and 20 percent of their HVAC spend
9 with no loss of comfort and no loss of control. We use
10 communicating thermostats to do that. It has nothing to do
11 with demand response. If people pull the radios out because
12 they don't want to participate in DR we can't deliver that
13 value.

14 On the DR side, one of the things that is very
15 concerning to me about these standards is that it's
16 obviously trying to enable DR but the specific way that
17 you're going about that is in effect making permanent,
18 locking into the hardware, a specific method for delivering
19 DR, saying bump the temperature by four degrees for however
20 many hours the utility sends a signal to the thermostat.
21 That's one way of doing demand response. It's not the only
22 way of doing demand response. And we, again, in our trials
23 have proven that we can deliver significantly more load
24 shed, 36 percent more load shed, than what you get with a
25 standard four hour shift and at the same time have almost no

1 effect on the temperature inside the home by doing
2 intelligent pre-cooling matched to the individual
3 characteristics of the home and the air conditioning system
4 and the weather.

5 So we can do that but I think these standards are
6 going to make it significantly more difficult for us to do
7 that because in effect you're hard-wiring response into that
8 thermostat. So we think the problem here is that - I think
9 the way technology advances is if people understand and keep
10 in mind that there are different layers to the stack. There
11 is a hardware layer, there is sort of an operating system
12 layer, and there is an application layer. And by embedding
13 a specific way of doing demand response into the hardware is
14 sort of the equivalent of saying all personal computers must
15 run Wordstar for DOS. Yeah, when people first started using
16 PCs that was a pretty good word processing program but
17 technology has moved on since then.

18 We've come up with a much better way of doing demand
19 response today. Someone else is very likely to come up with
20 an even better way down the road. All you need to do, in my
21 view, is say, Here are the commands you need to be able to
22 receive: boost temperature, cut temperature, send data back.
23 All you need at the hardware layer is the ability to send
24 and receive signals. And then at the application layer it
25 can be decided exactly how to do demand response.

1 So I think the fact that the specification doesn't
2 talk about, doesn't deliver any kind of consumer value I
3 suspect that - although obviously things have changed since
4 the PCT from a few years ago and there has obviously been a
5 lot of effort to avoid touching the hot buttons that got
6 people so ticked off about the PCT last time - I don't think
7 it's going to work. I think that because there is no
8 consumer value proposition in the PCT as written and because
9 it's going to be very clear to anybody reading this that the
10 point of having communication is to let the utility come in
11 and switch temperatures on your thermostat, I think you're
12 still going to get a lot of pushback on this. And I think,
13 even if we get to the end of the process with a
14 specification like this and these communication modules and
15 the standard is approved, consumers aren't going to want to
16 put those modules in because there is no benefit to them.
17 Some of the consumers who will put them in will tear them
18 back out again because it's not doing them any good. And so
19 in the end not only are we not saving energy or making the
20 grid more reliable, you're not helping to put communicating
21 thermostats out into the field.

22 Thank you.

23 MR. SHIRAKH: What do you mean by there is no value
24 to the occupant? I mean, what is your proposal to change
25 that?

1 MR. STEINBERG: Well, I think it would be difficult
2 to write in consumer value, although there would be great
3 value to all of us in this process to making it very
4 explicit, sort of a statement of principles at the beginning
5 of this that says, Your house is yours, your thermostat is
6 yours, your air conditioner is yours, here's a way, if you
7 choose, other people can communicate, services you choose,
8 people you choose can communicate with your thermostat. I
9 don't think it's necessarily possible to add in consumer
10 value into the specification but I think it's very possible
11 and will have no ill effect to strip out the things that are
12 clearly, in my view, counter to consumer value and that
13 don't serve a purpose.

14 If you put into the specification everything that's
15 needed in order to communicate with the thermostat then what
16 it's done with the communication is a completely separate
17 question. And as long as you can do everything you need to
18 do, explaining all the ways that you are going to make
19 people uncomfortable and inconvenience them, you don't need
20 to do that here.

21 MS. BROOKE: So you are suggesting that we stick to
22 the hardware layer and not do anything in the application
23 layer, is basically what you're saying? No specification
24 for the bump up or bump down as the default?

25 MR. STEINBERG: Essentially, Martha, yes. What I'm

1 saying is specify that these are the places inside the
2 thermostat that need to be addressable over the
3 communications layer, these are the pieces of data that need
4 to be sent out perhaps, these are the commands it needs to
5 be able to receive. And why go any further?

6 MS. BROOKE: Okay, thank you.

7 MR. RASIN: Okay, John, I look forward to continuing
8 the discussion later.

9 MR. SHIRAKH: Tim?

10 MR. SIMON: Hi, I'm Tim Simon, my company is Golden
11 Power Manufacturing, Radio Thermostat Company of America.
12 We make thermostats with radios.

13 Basically, I support what you have here. I have a
14 couple of small points. One is that along the lines of what
15 John said. When it comes to the terminals where you're
16 dedicating which terminals go where it follows in my mind
17 some of the logic that he has, that you're limiting what we
18 can do to make these thermostats compatible with new, more
19 modern ways of being efficient. Because you're saying the
20 equivalent of you're going to build a watch, you're going to
21 have an hour hand, a minute hand and a second hand, the
22 whole thing is going to have a backlight behind it, and
23 you're going to have to wind it so that it can last eight
24 days. Now, I come out with a new LCD watch and you say,
25 Sorry, it doesn't fit the code, it doesn't have movable

1 hands and it's electric, it's not wind-able. So it can't
2 work, sorry.

3 I think exactly the same as on the terminals, you
4 should be saying, You must be able to hook up to a multi-
5 stage heat pump, gas and electric, so forth, do all these
6 things; how you do that is up to you. But you have to be
7 able to connect to all these different things that are out
8 there now. And don't say we have to have this terminal here
9 and there and there and there. It's not terrible but it
10 seems like a limiting factor and potentially a step back.

11 The other point I would make is more an informative
12 point, some changes in the marketplace. When I first spoke
13 here four or five years ago about this thermostats were
14 thermostats that controlled an HVAC system and there was no
15 connection to the outside world. Now we have the thermostat
16 that we're selling, the one that you've talked about at Home
17 Depot, the \$99 one, which comes really close to doing
18 everything you're saying right now. With the exception of
19 the terminal and there is only some minor software and we do
20 everything you say. So does it prove it's possible? Yes.
21 And it's at 2000 stores across the United States and been
22 there for the better part of a year. So it's real, it's not
23 some hypothetical thing.

24 But the other thing that's happened is there is a
25 whole new world of people that want to talk to it. So the

1 consumer is buying it because he wants to talk to it
2 himself, he wants to take his iPad and say, Hey, I left my
3 air conditioner on so I just turned it off. Or, I know I
4 turned it off and I'm going to go home, it looks like the
5 meeting is going to end soon, I'll turn the air conditioner
6 on and when I get home maybe it will be cool enough for me
7 by then. The other thing is that alarm companies are
8 becoming gigantic users of thermostats. We will certainly
9 sell more thermostats to alarm companies this year than if
10 the Title 24 was in effect today that it would generate
11 because of that. So there's all these different people that
12 are trying to talk to the thermostat.

13 So the more that we make it so that we haven't put
14 restrictions on it - because the worst thing in the world
15 for me would be is there's one that works well with the
16 consumer, there's one that works with Title 24 and then if
17 the EPA comes together with their Energy Star there's one
18 for that. So the guy goes to the store and says, Should I
19 buy a Title 24 thermostat, should I buy an EPA thermostat or
20 should I buy one that really seems to do more what I want?
21 So the more we can bring that together - and the only thing
22 to do to do that is to not limit the way it works, limit
23 what it works with. Does it do the job you want it to do?
24 And don't exactly make it so critical that this is how you
25 achieve the job you need done.

1 MS. BROOKE: So you seem to be saying that we should
2 stick to functional requirements and not prescribe solution
3 sets.

4 MR. SIMON: Gosh, you said that in thirty seconds.
5 That's why you're there and I'm here. Yeah, sure. I should
6 have just come up and said that and then John wouldn't have
7 had to get up either. Yes, that's what I'm saying.

8 MS. BROOKE: Thanks.

9 MR. SHIRAKH: I'm kind of still puzzled. What is
10 it, the problems you have is the four degrees -

11 MR. SIMON: No, no. I don't have any problem with
12 that at all. I'm saying -

13 MR. SHIRAKH: Well, I think John did.

14 MR. SIMON: John did, yes.

15 MR. SHIRAKH: And the terminals, you know, terminals
16 one to nine, that was an attempt as part of the PCT to kind
17 of standardize. Actually, the goal was to have a standard
18 plug and some manufacturers objected to that. I mean, it's
19 not going to break my heart if we give that up but it seems
20 like it would be nice if that was standardized.

21 MR. SIMON: Here's my answer to that. I answer
22 about 150,000 calls a year - not personally - from our
23 consumers who are installing thermostats. I would love to
24 be able to say, You take this and plug it in here and you're
25 done. I mean, we get people that call up and say, Hey, I've

1 got five blue wires coming out of my wall. And we say, Ah,
2 you live in Tampa, Florida. Because obviously sometime
3 years ago some guy in Tampa, Florida built homes and they
4 had a lot of blue wire and just ran all this blue wire. So
5 for us to have a standard it would be great. I just don't
6 see it being a reality today. And with some of the changing
7 - like, a few years ago people called us when heat pumps
8 were just starting to become really commonplace. Now we
9 have people calling and saying, I have a heat pump with two
10 stages of compressor and I'm backing it up with a
11 traditional gas furnace that has two stages. Because the
12 electric was so expensive with the aux heat came on. So now
13 I need four connections. And I need it to be bi-fuel, gas
14 and electric.

15 And I'm saying when you specify all those terminals
16 be exactly this way and do those things it's making it
17 really hard for me to satisfy that customer, where I could
18 satisfy him really easy if all you said was, It's got to be
19 able to work with multiple fuels, got to be able to work
20 with multiple heat pumps, multiple stage, multiple furnaces.
21 And then any mix that the guy happens to put together we can
22 deal with. But if we're stuck with this - we get back to my
23 example of some day we're going to look back and say the
24 hands on the watch and the battery and so forth.

25 MR. SHIRAKH: So standardizing terminals one to

1 nine, bad. What else?

2 MR. SIMON: I think of all things I'm really pretty
3 happy. There may be some - there was one slide came up -
4 and I'll read them later - and it was a small word thing. I
5 said, Yeah. But by and large this looks good. It looks
6 good because it's simple and it is not so confining. And
7 obviously if I can do this, other people can do this. So
8 it's a doable thing. And, you know, when you mentioned the
9 product for \$59 at Home Depot without the module and you
10 said ultimately that price will come down. That will come
11 down. The thing that will drop more quickly is the price of
12 the modules. The radio technology is becoming such that the
13 modules are going to become cheaper and cheaper and cheaper
14 and cheaper.

15 But I see purposes where people are going to want to
16 have multiple modules in their home because they are going
17 to say, I bought a security system and they set me up and I
18 have a Z-wave radio in it and I really love it. And now in
19 a couple of years this is going to come into effect and
20 someone is going to say, I want to bring my house up to
21 code, I'm remodeling some things and so forth. But now do I
22 take out the Z-wave system that I had and do I put in the
23 Zigbee system? So that's why we took and had two radios, so
24 you could have two steering wheels driving.

25 MR. SHIRAKH: Okay, so if we dropped the terminal

1 standardization, Tim's happy, right?

2 MR. SIMON: I would say, yes. I forgot those words,
3 they were so great, that you used.

4 MR. SHIRAKH: Well, at some point, you know, the
5 requirement - you know, like the four degrees - I mean, I
6 must say this just didn't come about -

7 MR. SIMON: I'm a hardware manufacturer.

8 MR. SHIRAKH: It was a long drawn discussion, there
9 was a lot of policy discussions about that.

10 MR. SIMON: I don't care about the four degrees, you
11 know. That's your -

12 MR. SHIRAKH: You know, we had to land someplace.

13 MR. SIMON: I think it's a great place. I have no
14 issue one way or the other. All I care about is how can we
15 build the hardware so that the millions of thermostats we
16 make can all become Title 24. Not that we make the street
17 version as Title 24, in which case that will of course raise
18 the price of it and lower the places it's available.

19 Because everyone is not going to want to carry multiple
20 different things. But I like what you have.

21 MR. SHIRAKH: Thank you, Tim.

22 Bob, did you have a comment?

23 MR. RAYMER: Bob Raymer with California BIA. First
24 off, reiterating what Mike said, our one concern right now
25 and back in 2008 was to make sure the utilities are all on

1 the same page. In 2008 there was a difference of opinion.
2 Everybody seemed to like the idea but how they wanted to
3 approach it was different. So as long as you take care of
4 that issue, that is our overriding concern.

5 If I can be repetitive, it's my understanding that
6 what the Energy Commission is proposing is that the builder
7 install a thermostat that is capable with its one or more
8 ports to allow the occupant at some later date to take part
9 in a utility program. So in essence this is the huge
10 difference that exists between the 2013 proposal and the
11 2008 proposal.

12 MR. SHIRAKH: Exactly.

13 MR. RAYMER: We were pretty supportive of the 2008
14 proposal and we too sort of got hit by political lightning.
15 Whether I was a true American was being questioned by some
16 of our, you know, Southern California members. So with that
17 it sounds to me like you've definitely got something here
18 that can, from a public relations part, not trigger what
19 happened in 2008. I just hope that very quickly you get on
20 the front end of this and indicate that we're just making
21 these things user-friendly so that at some later date if
22 they want to get involved, there you go.

23 MR. SHIRAKH: Exactly. And, again, just to
24 reiterate, the proposal would be for a thermostat that is
25 exactly like the setback thermostat that has been going in

1 the homes up to this point with one unpopulated - at least
2 one unpopulated - port that the occupant can choose to
3 populate based on the utility territory where they live.

4 MR. RAYMER: Perfect. Thank you.

5 MR. SHIRAKH: And they are in total control of it.
6 And so I'm hoping that's very clear. Jamy?

7 MR. BACCHUS: Jamy Bacchus, National Resources
8 Defense Council. I just want to bring up something that
9 almost everyone has kind of brought up in bits and pieces
10 between today's meeting and last week's webinar. If the
11 IOUs are providing the modules and we're leaving it to the
12 manufacturers to dictate whatever standard they want to do,
13 is there going to be a mismatch in the future? How do we
14 know that PG&E will stock two or three different modules?
15 Is this a concern?

16 MR. SHIRAKH: Tim, can you come up?

17 MR. SIMON: This is a subject that we talk about a
18 lot. Our customers, like Home Depot, have said as soon as
19 there is a reason we'll stock the module if anybody wants it
20 to be available. Where there is a demand there will be the
21 supply. We already make Zigbee, Z-wave and Wi-Fi modules.
22 And whether the utility sells them, I don't know. When
23 people said that I kind of went, I don't know if the utility
24 necessarily gives it away. The utility could say if you're
25 going to use our system you have to have this module. Like

1 years ago the phone company said when they opened up and you
2 could buy your own phone, they said it has to be FCC-
3 approved and has to have an RJ-11 jack and beyond that we
4 don't really care. The utility says it has to plug into the
5 thermostat and has to communicate in this manner. If you
6 buy it at Home Depot or you buy it from us or whoever else,
7 I don't see why anybody cares.

8 MR. SHIRAKH: So essentially the way we wrote the
9 technical specifications is that it leaves it open, that it
10 can be Wi-Fi, can be Zigbee, can be USNAP, can be USB. You
11 know, we're letting the industry decide all of that, we're
12 not putting any restrictions on it.

13 MR. SIMON: Well, I think, Mazi, along that line if
14 I was a thermostat manufacturer and I made a thermostat with
15 a receptacle that there were no modules for the market would
16 put me out of business very quickly. And people would say,
17 Well, you don't buy that one, you can't get the radio for
18 it. So buy the one you can get the radios for.

19 MR. BACCHUS: If a customer wants to participate in
20 a program - this was brought up earlier - why would the
21 customer want to put this in if it's just going to be
22 benefitting the utility or the state? They need to know
23 that their utility bills could come down. And if the
24 utility is selling to them or a thermostat manufacturer is
25 selling it to them for a certain price I think you're going

1 to get less people participating in the program than if the
2 utility decides, You sign up for the program, here is your
3 chip and they plug it in.

4 MR. SHIRAKH: I mean, those are all the good
5 questions, you know, some of the comments, but we can't
6 really put that in the code language.

7 MR. BACCHUS: Yes.

8 MR. SHIRAKH: That's an educational effort by maybe
9 us, the utilities. But, you know, this workshop today is
10 about the technical specifications of the thermostat. You
11 know, customer education, utility incentives, I mean, those
12 are all the things we need to address in the future.

13 MR. BACCHUS: And I agree, Mazi. I think it's more
14 if we leave it up to the market, which I think there is a
15 benefit to that because different technologies and one will
16 play out to be the winner. But if we don't know which one
17 that is, we don't pick a horse, are there going to be dead
18 thermostats out there that customers who want to participate
19 aren't going to have the ability without ripping the
20 thermostat out?

21 MR. SHIRAKH: We don't think so. Because the way -
22 again, the thermostat has a port and the port can support
23 many number of different technologies. So we're not
24 deciding that, all we're saying is that it must be able to
25 support these different communication systems.

1 George?

2 MR. NESBITT: George Nesbitt. So if I go out and
3 buy a thermostat when this regulation is in effect I will
4 have to buy one for my existing home that meets the
5 standard, correct?

6 MR. SHIRAKH: Only - no.

7 MR. NESBITT: That has the capability?

8 MR. SHIRAKH: For an existing home?

9 MR. NESBITT: For an existing home.

10 MR. SHIRAKH: No, only if you pull a permit. You
11 know, if you're doing a major retrofit.

12 MR. NESBITT: Pull a permit for changing my
13 thermostat?

14 MR. SHIRAKH: No, that's not what I'm saying. I'm
15 trying to explain.

16 MR. NESBITT: Okay.

17 MR. SHIRAKH: If you're doing like an HVAC change-
18 out, you know, you're replacing the outdoor unit, the
19 furnace and all that, then you have to pull a permit. If
20 you do that then you have to upgrade your thermostat. At
21 that point you have a choice. You can either put the
22 thermostat that we were just talking about with an empty
23 port with no communication gear onboard or, in existing
24 homes, you can actually buy a thermostat that has a
25 communication device onboard which is compatible with the

1 local utility. And it's up to you which one you want to put
2 in.

3 MR. NESBITT: Okay. So it's essentially like the
4 duct testing, refrigerant charge change-out.

5 MR. SHIRAKH: Whatever triggers those will trigger
6 this.

7 MR. NESBITT: Right.

8 MR. SHIRAKH: In existing homes you have two
9 choices, that's what I'm trying to say.

10 MR. NESBITT: Yes. Although I don't think the code
11 says it's triggered only if you pull a permit. So the
12 question is, the thermostat needs to be controlled but does
13 it need to be the thermostat where that control is? I mean,
14 why could you not have a device that you wire into the
15 thermostat wiring that would control the thermostat from
16 remote from the thermostat as opposed to having it have to
17 be either built in or plugged in at the thermostat? Because
18 you may not have the ability to - or, you know, it can
19 become hard, you know, got to pull more wire or you got
20 walls closed and, you know, do you want a little wart on
21 your thermostat? So is it what we want is the thermostat
22 to be able to be controlled but can it not be controlled
23 from somewhere else within the thermostat wiring circuit?

24 MR. SHIRAKH: Well, there was an exception that he
25 put on, you know, if is it an equivalent device that can

1 perform the same functionality could also be approved.

2 That's why we had that second exception in there.

3 MR. NESBITT: Okay. Because by that I would think
4 perhaps any thermostat currently on the market would then
5 have the ability to be controlled. Although maybe I'm
6 missing something in that it would not have the ability to
7 be totally controlled.

8 MR. SHIRAKH: You're talking about the existing
9 homes, you're thinking that if you operate through this
10 device you have to run extra wire. That's what your concern
11 is, right?

12 MR. NESBITT: Yes. And also the concern of having
13 to constantly change your thermostat because the standard
14 has changed or, you know, different communication ways.
15 Whereas, if the thermostat is controlled somewhere else in
16 the circuit and it's telling it to shut off because - you
17 know, maybe it still does need functionality to tell a
18 device somewhere else within the circuit what temperature
19 it's set at right now and whether it's running or not. But,
20 you know, I'm thinking rather than having - you know, what
21 you're saying is only if we pull a permit or a new
22 construction we have to have this device. But then we have
23 in the market thermostats that are non-communicating and
24 thermostats that are communicating. And either we're going
25 to, you know - it's -

1 MR. SHIRAKH: That's why we have that second
2 exception in there. I mean, you're talking about the
3 hypothetical products that might come into the market. I
4 think we can address it. But as far as this UST that we're
5 considering, it can accommodate different communication
6 protocols and operates through the communications protocols.
7 That's why we went this route. So it's not really necessary
8 to change the thermostat itself as the technology changes,
9 we think, we hope.

10 MR. NESBITT: Right.

11 MR. SHIRAKH: And all we need to do is basically
12 replace the module to operate. So I think we just need to -
13 if there are other situations then we will look at them.

14 MR. NESBITT: Yeah. I'm just thinking that, you
15 know, while there is nothing wrong with having a thermostat
16 that has that functionality built in, what's wrong with just
17 having a regular thermostat we have and it can be added,
18 rather than having to run out and buy different thermostats
19 all the time. I mean, if you've already got one and it
20 works.

21 MR. SHIRAKH: Okay, thank you.

22 MR. NESBITT: I don't want to see that ruled out.

23 MR. SHIRAKH: Any other comments related to this?

24 MR. WARE: We have one more comment on that.

25 MR. SHIRAKH: Well, I think Albert, do you have a

1 comment?

2 MR. CHIU: Albert Chiu with Pacific Gas and Electric
3 Company. So first I would like to address some of the
4 questions in the audience. What is the IOU perspective on
5 this? Obviously, I am only representing PG&E.

6 MR. SHIRAKH: You need to talk into the microphone,
7 we can't hear you.

8 MR. CHIU: Sorry. Is it better?

9 MR. SHIRAKH: Yes.

10 MR. CHIU: So first, all the IOUs in general support
11 the UST case study. But in the details on some of the
12 technical details I would have to say that we are still in -
13 there are still slight disagreements on some of the
14 technical specifications and how we should proceed. So in
15 overall high level off-hour (ph) use won't support this but
16 there is still discrepancy on some of the details that we
17 are working with the Energy Commission and see if we can get
18 them resolved. And hopefully we can in the future, that all
19 our use would be hundred percent agree on everything of this
20 case study. But that's not the case at this moment.

21 Then at the same time, you know, I do want to again
22 - you know, PG&E recommendations are just focused on the
23 technical specifications in high level so that we allow the
24 different manufacturers to provide a higher flexibility and
25 creativity on introducing energy management system and home

1 energy products and thermostat in the future. So we have
2 discussed this many times, I just want to point it out since
3 that seems to be the manufacturer desire as well.

4 MR. SHIRAKH: Thank you, Albert.

5 I think there is a question online.

6 MR. WARE: Yes.

7 MR. OATMAN: Can you hear me now?

8 MR. SHIRAKH: Yes, we can. Thanks.

9 MR. OATMAN: Good. Hi, this is Kirk Oatman, I Am in
10 Control. That's the name of the company, not me. Just very
11 briefly, we offer a highly intelligent energy management
12 system and we were very involved in the drafting of the Open
13 Hand Standard that Albert and some of the folks he works
14 with were closely involved in.

15 Just very briefly, first of all the general approach
16 is great here and we strongly support it. We did some work
17 with Gary Flamm on the lighting sections of this work and
18 actually moved some of those to be more functionally
19 oriented than precisely prescriptive and that seemed to have
20 worked well. So there have been a couple of comments about
21 going in that direction and I think that would have value to
22 everybody and make some of the discussions easier indeed.
23 One small detail, there are multiple DR providers in the
24 market now. And on the Open Hand Committee we spent tens of
25 hours of discussions talking about supporting multiple DR

1 providers in an environment of either small commercial or
2 home. So the phrase which speaks just of utility as sending
3 a DR signal is probably a bit limited at this point.

4 And the people from - Tim and the person from
5 EcoFactor covered a lot of the other points that I would
6 make about having these thermostats support energy
7 efficiency or conservation, as you wish to call it, in
8 addition to DR. And, again, on the Open Hand Standards
9 Committee we spent a lot of time on those issues, moving
10 frankly from the thinking three or four years ago, which was
11 totally DR oriented, toward overall energy efficiency.
12 Because quite frankly, as you say, DR is one percent of the
13 hours of the year and all the rest we really should all be
14 working toward energy efficiency.

15 So I think that there are a few places where we
16 would want to incorporate that so that these thermostats
17 will be effective for the 99 percent rather than just
18 responding to only very limited DR signals which wouldn't
19 give us the opportunity to achieve those savings.

20 And just one quick comment on the wires. There are
21 products now which essentially move the control aspect of
22 the thermostat right down to the heating units and all of
23 the interfaces and logic are done elsewhere. And that is
24 going to become more and more prevalent in actually a very
25 short number of years with the EMS, you know, such as ours,

1 such as EcoFactor. Because we can do all of the logic that
2 is done to operate stages and so forth in our system. So I
3 think, again, moving toward a more functional description in
4 that area as well as some of the others would have value
5 and, again, make the standard more flexible, more agreeable
6 to everybody and make these discussions faster.

7 MR. SHIRAKH: So you're saying make the standards
8 more flexible. I want to know specifically what that means.
9 The only thing we actually have in the requirement besides
10 the four degrees are a set of override functions and on/off
11 buttons, which we felt it was necessary to put it in there.
12 But besides the four degrees, what else is there in the
13 current specifications that is hindering flexibility?

14 And my second question is, you know, several
15 speakers have said this needs to address energy efficiency
16 not just DR. I don't know what that means. What is it that
17 we need to do and how is this preventing energy efficiency?
18 I mean, could you address those questions, please?

19 MR. OATMAN: Sure. Again - and we don't want this
20 discussion to go on a terribly long time, but a couple of
21 the points, actually, I think the person from EcoFactor
22 made. One is that the limitation that either you have
23 communication for DR or you don't says that - intersects
24 with the fact that there are people who will want to have
25 energy conservation facilities in their premises but maybe

1 not be enrolled in DR programs. So they want the
2 communication in the thermostat but they are not involved in
3 DR programs.

4 And also the fact is that all you're prescribing in
5 here for the communication is a very limited set of messages
6 to the thermostat which says I am in an event and you kind
7 of infer but don't specify it's an emergency event or a
8 fairly standard DR event. But that doesn't give the
9 facilities for the energy conservation products to say, All
10 right, I want you at 72 degrees now, I want you at 73 now
11 and I want you at 74 now, say, as people are coming into an
12 office in the morning or something like that. So the
13 specification here says this is all that somebody has to do
14 to meet Title 24 and all that it's going to do is enable DR.
15 And if somebody will have already spent money on this
16 thermostat they're not going to spend money on a different
17 thermostat that has the additional very simple commands for
18 the energy efficiency controls.

19 MR. SHIRAKH: May I comment on that?

20 MR. OATMAN: Yes.

21 MR. SHIRAKH: These are minimum requirements. There
22 is nothing to prevent you and manufacturers from making
23 thermostats have more capabilities, there is nothing in
24 there that prevents that.

25 MR. OATMAN: That is certainly true.

1 MR. SHIRAKH: So the question here was, you know,
2 the State of California has a summer peak demand problem,
3 we're trying to address that. We're not trying to solve all
4 the problems in the world with one device. And what we've
5 said is that the device you put in the house by the builders
6 will have these minimum capabilities. In fact, many
7 manufacturers already have different product lines. And, I
8 think, Golden Power is one of them. They have everything
9 from Yugo to Cadillac. And all of them comply with our
10 requirements. So we're not preventing any of this from
11 happening, it is really up to the market, you know, the
12 builders, the manufacturers, the utilities. You know, if
13 they want to put in something that is better than Title 24,
14 more power to them. We're not preventing that.

15 MR. RASIN: One other point. I think it's important
16 to mention that this requirement for the UST is triggered in
17 the absence of an energy management control system. If
18 there is an EMCS you're not required to have a UST. So if
19 you have an EMCS that can do DR and energy efficiency and
20 all the other things that you want, you don't have to do
21 this.

22 MR. OATMAN: True, when this is triggered. But the
23 point of this, you say you don't have to have this if you
24 already have an EMS in. But most premises will be getting
25 this thermostat which says it is upgradable and then they

1 will upgrade to the communication facility that you specify
2 in the standard. And at that point then is when either a
3 small business or a home would add some sort of EMS
4 capability. So unfortunately you have one before the other
5 and then reverse for that part of the discussion.

6 MR. STEINBERG: John Steinberg from EcoFactor. If I
7 could jump in for a second. One thing is the EMCS
8 reference, I saw that in there but I didn't see that defined
9 anywhere in the appendix, I missed it.

10 MR. SHIRAKH: Well, that is not in that. The
11 different sections of standards, we didn't present all of
12 it. That actually, I think, is in Section 120 or 121 of the
13 standards -

14 MR. STEINBERG: Okay.

15 MR. SHIRAKH: - which is the nonresidential
16 mandatory requirements. And that states that if you have an
17 energy management control system you do not need a UST.

18 MR. STEINBERG: The other thing I was just going to
19 add is that I think the problems that we have with the
20 specification, I just want to stress, I think they're
21 actually fairly easy to solve and I think most of what you
22 have in there is actually fine and it's really just tweaking
23 some words about sort of mandatory versus permissive and
24 that sort of thing.

25 MR. SHIRAKH: Yes

1 MR. STEINBERG: And so I would be more than happy to
2 work with you to sort of illustrate how we could address our
3 concerns without changing -

4 MR. SHIRAKH: I understand that.

5 MR. STEINBERG: - what you already have.

6 MR. SHIRAKH: But the point that I was trying to
7 make, that these are minimum requirements and we do not
8 prevent devices that have more capabilities. As long as the
9 meet these requirements, they can do more.

10 MR. STEINBERG: If we can make the language more
11 explicit to make that clear I think most of my issues may go
12 away.

13 MR. SHIRAKH: Yes.

14 MS. BROOKE: We would love to work with you on that,
15 yes.

16 MR. SHIRAKH: All right.

17 MR. OATMAN: This is Kirk Oatman. I would be happy
18 to work on that, too. Again, with the background on Open
19 Hand we talked through all of these exact same issues. So
20 I'd like to participate.

21 MS. BROOKE: Great, thank you.

22 MR. SHIRAKH: Okay, thank you. Carlos has got a
23 comment.

24 MR. HAIAD: Carlos Haiad, Southern California
25 Edison. I think one thing is being missed on this entire

1 process here this morning. Even if the customer has a
2 communicating module, that was at one point provided by the
3 utility, as long as he doesn't register with the utility we
4 have no control. We actually even have no visibility of
5 that. It's almost a two-step process. He has to engage us
6 to potentially get that module and once he gets the module
7 he has to register that device into our network. And none
8 of this just occurs by magic.

9 So to that point that there is no benefit to the
10 customer because he is not participating in the DR program,
11 he is going to pull the communication out, he's not. He can
12 use that communication as a way to do energy management. In
13 fact, you know, that is not only the communication with the
14 utility, it has to occur within the thermostat. You can
15 have a gateway that has the communication with the utility
16 and the gateway then talks to multi-point user devices in
17 the home. If that communication exists for the purpose of
18 one of the voluntary programs that the utility might offer
19 in the future they should be able to leverage that for
20 energy management big time. There is nothing to prevent
21 that whatsoever. Nothing at all.

22 MR. SHIRAKH: Thank you, Carlos. Albert?

23 MR. CHIU: Albert Chiu with PG&E. So I agree with
24 what Carlos said. I just want to add that at this moment,
25 at least for PG&E, we have not identified exactly how to

1 communicate with PCT in the future. Our business model has
2 yet to be determined. So are we going to ship out modules?
3 And if there is multiple modules there, are we going to have
4 stock on all of those or are we going to provide rebate for
5 customer to purchase it in retail channels? Is it an
6 upstream channel or a downstream channel or are we just
7 going to offer the rates to the customer and let them invest
8 in enabling technologies? None of those has been
9 determined.

10 So I just want to point out that, even though we are
11 supporting these codes, we are not, you now, committing
12 ourselves into providing the module to our customers.

13 MR. SHIRAKH: Thank you, Albert. Any other comments
14 in the room or online?

15 (No response.)

16 Okay, so we are about 45 minutes behind schedule.
17 Why don't we take an hour and come back at a quarter to two
18 and then we will get on with our afternoon.

19 (Lunch recess until 1:45 p.m.)

20

21

22

23

24

25

A F T E R N O O N S E S S I O N

California Reporting, LLC
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 1:45 P.M.

2 MR. SHIRAKH: Good afternoon. We're going to start
3 our afternoon session. Yanda is going to present two
4 topics. The first one is going to be multi-family domestic
5 hot water/solar heating systems. So we will start with
6 that.

7 MR. ZHANG: My name is Yanda Zhang with Heschong
8 Mahone Group. The first topic I'm going to present is
9 multi-family DHW and solar water heating. In this topic I
10 will basically look at what are the options to improve
11 domestic hot water system designs in multi-family buildings
12 but also including hotel and motel buildings. And this
13 topic used to be separated into two and there are many
14 stakeholders being in-house, so a lot of detail are being
15 discussed. In this presentation I just want to go over the
16 overall approaches and the results and proposal. And you
17 can find more details in the CASE report and many of the
18 details are also in the previous stakeholder meeting
19 presentations.

20 So the general approach is here. We want to look at
21 what are the options to get the maximum savings we can
22 achieve for multi-family buildings. So we look at three
23 levels of potential improvement. In level one we only
24 considered the distribution loop controls, recirculation
25 loop controls. In level two we also add the possibility of

1 improved recirculation designs. And in level three we add
2 another component which is solar water heating and look at
3 overall cost effectiveness at all those three levels.

4 The technical aspect includes three components.
5 First is the recirculation system controls. And there are a
6 couple of control technologies out there and have been in
7 the field for many years, evaluated and tried by utility
8 programs. One is demand control and the other is
9 temperature modulation and also continuous monitoring is
10 also a technology, you know, that has been proved to be able
11 to save energy even though it is not a control technology.
12 And the second technical area related to this proposal is
13 the recirculation loop designs. I want to, again, kind of
14 repeat it.

15 We've talked about this before and there has always
16 been some confusion related to this topic. Right now in the
17 code there is absolutely no requirement in a sense of what
18 design you should have for recirculation loops. And how to
19 deal with it is definitely a challenge because in most of
20 the buildings it's really be implemented in many different
21 ways. So that's why before it has not been addressed. This
22 is really a first step attempt in a sense to try to guide
23 industry towards future and better improvements. The
24 general approach is first we have a proposed design that
25 kind of reflects the market practice, to in a sense set the

1 reference so we can compare what performance we can achieve.
2 And then on top of that we have a standard design but that
3 will reflect an improved design. So that basically in a
4 sense sets the requirement, what your design should be, at
5 least in the code cycle.

6 And the third is the solar water heating, which is a
7 very mature technology. You know, the issue related to
8 implementing is always cost effectiveness. And also we
9 discussed the issue of if you don't install solar water
10 heaters, what about getting your building ready for future
11 installations. And we also look at, you know, what is the
12 cost saving potential of that.

13 So going back to this loop design again - the reason
14 I want to repeat is I feel this is the one that constantly
15 has been discussed and asked, there are potential design
16 confusions about it. So at the bottom I'm showing three
17 graphs. On the left you can see in a real building what the
18 recirculation distribution loop can be. It's fairly
19 complicated. And that's also one of the reasons why you
20 have, you know, such a huge amount of loss associated with
21 distribution. Now, in the middle picture we are showing
22 what about we set a default design, something in that
23 structure. So that basically sets a reference what the loop
24 would be. I mean, compared to the real building on the left
25 you can see that the default design is really already a

1 streamlined design. So if we use this default design to
2 simulate your building energy consumption it's really a very
3 conservative estimate of your heat loss. So your real
4 building heat loss can be definitely much larger.

5 And the standard design has a slight difference from
6 the default design in that instead of using one big loop you
7 are using two small loops to support the building. So to
8 summarize, when the building design is submitted for
9 compliance - and you can have three options, one, you can
10 input your own design, which is basically specify six pipe
11 sections. And your user design will not be as efficient as
12 the default design because the default, as you can see, is
13 already a very streamlined assumption. And the second
14 option is, if you don't want to put in a specific user
15 option you can just use the default design, which is also -
16 you know, if you can compare the pictures - not bad in a
17 sense, already not overestimating your energy consumption.
18 So the third is if you want to use the default design, if
19 you think, you know, we can meet the standard design, then
20 we are potentially saying we propose that you need a
21 verification. And the residential will be HERS and the
22 nonresidential will follow the NR appendix, the NR
23 guidelines.

24 And in terms of controls and the energy savings the
25 proposals are based on multi-year PIER research on this

1 subject. And, you know, we have been doing field monitoring
2 and studies in more than 30 buildings. And, you know, the
3 study also found that on average the recirculation loop
4 consumed more than 30 percent of your total DHW energy
5 consumption. In many buildings it can be much more. So it
6 is an important issue to address. That's also why savings
7 associated with it is also large. And the methodologies
8 were used as estimated savings and is based on the models
9 that we developed under the PIER program and the models
10 being fully validated with field-measured performance as
11 well as the plumbing designs.

12 So here is a summary of those two buildings that we
13 used in our cost effectiveness studies. Basically, one is
14 low rise and one is high rise. There are more details in
15 the report. So the first step, we said there are three
16 levels, right, and the first level let's only look at the
17 control, what are the savings potential and how cost
18 effective it is. And control really relatively speaking is
19 cheap, \$1000 for equipment and \$200 for installation. You
20 know, roughly you have a 15 year life and it could be
21 longer. We assume 15 years. So here is the basic life
22 cycle cost analysis result.

23 In the level two we said we are going to add the
24 streamlined designs to require two loops. You know, the
25 benefit of two loops is you would be able to use a pipe with

1 smaller diameters instead of using, you know, big fat pipes.
2 There is really no cost associated with that. In fact, you
3 are actually going to save substantially with your plumbing
4 costs because the pipe will be smaller. So the amount of
5 copper in a sense that you use will be less.

6 Switch to the solar side and the cost of solar, we
7 discussed the details in stakeholder meetings. You know, we
8 collect the costs from variable sources and here is the
9 summary of it. And also we consider within the 30 years
10 what about the replacement costs. For example, over here we
11 assume collectors have a 20 year life but in reality, you
12 know, a lot of people would argue that flat plate collectors
13 can last longer than that. But nevertheless we assume
14 you're going to replace it in 20 years. So almost the same
15 - you know, after 20 years you almost would consider the
16 cost of reinstalling the solar system again. Along with
17 this many other details of replacing solar tanks and pumps
18 and all that.

19 So this is the result of picking a climate zone as
20 an example. It depends on the size of solar collector. The
21 cost effectiveness result will be - they're different. The
22 main reason is as you are sizing big collectors the overall
23 effectiveness will be reduced because in summertime
24 potentially you are going to have overheating problems and
25 overall efficiency will be in a sense reduced. Basically,

1 it's more, you know, the smaller in a sense the more
2 efficient. However, if it's too small, you know, you're not
3 going to get a lot of energy savings. So by running
4 detailed analysis using Transis (ph) we would be able to
5 find basically the threshold for different climate zones
6 where the solar water heating along with other measures will
7 be cost effective.

8 So to summarize here for different climate zones
9 that's what we find. For low rise and for high rise, ones
10 using the base TDV value and the other one is using the
11 REACH TDV values. And here it specifies the solar savings
12 fractions under which the level three will be cost
13 effective. So above that, you know, the measure is not cost
14 effective. Another important factor is, since we are going
15 to propose prescriptive requirements what it basically means
16 is that the demand control plus the optimum design plus the
17 solar water heating is really trying to set a performance
18 budget. Because we expect almost a hundred percent of the
19 multi-family designs will follow the performance approach
20 instead of the prescriptive requirements.

21 So because of that we do need to address what are
22 the alternative compliance options if we decide not to do
23 control, not to optimize the design, not to use solar water
24 heating. So here is a summary of results showing for each
25 climate zone what would be the option of not doing the

1 proposed solar water heating instead of using, for example,
2 high efficiency water heaters and high efficiency cooling
3 and heating equipment. And I'm just going to explain here a
4 little bit. This is the TDV energy savings if you use those
5 options on the left. The high efficiency water heater, the
6 assumption is that instead of using 80 percent efficiency
7 water heating using 96 condensing water heater. The high
8 efficiency furnace will be same, instead of using standard
9 using condensing. High efficiency AC instead of using SEER
10 13 using 15.

11 And using those assumptions what we find is - let's
12 go here first. First of all, those options are cost
13 effective. The life cycle costs are negative, meaning the
14 overall cost is less than the base CASE design. The second
15 is that with these designs those will be the TDV energy
16 savings you can achieve. Those TDV energy savings represent
17 those percentage of hot water heating TDV energy budget. So
18 in a sense this here is the proposed solar water heating
19 fraction. For example, for Climate Zone 1 we propose you
20 have 20 percent solar water heating fraction and if you
21 don't do it, if you implement all those high efficiency
22 alternatives, then you will be achieve 23 percent of the
23 water heating budget. So you will be able to beat the
24 budget set by the solar water heating requirements. So
25 basically we're showing that there are alternatives, you

1 don't have to do it.

2 And the other issue related to this solar
3 requirement is the adequacy of roof areas, we are showing
4 here, for different story buildings. We are saying even at
5 the level of, you know, 0.5 or 50 percent solar fraction you
6 really looking at a very small fraction of roof area to
7 achieve this energy savings goal. So it is feasible and can
8 be achieved.

9 So this is the proposed code language. This will be
10 in the Section 151, which is the prescriptive requirements.
11 Basically, the addition to the code language is the solar
12 water heating system with solar fraction specified in Table
13 151-C. And then adding that the recirculation system should
14 be equipped with demand control and has a two recirculation
15 loop. This is kind of the improved recirculation loop
16 design we talked about.

17 MS. BROOKE: Yanda, could I interrupt you for just
18 one minute. This is Martha. Several slides ago you had a
19 table that showed, I think, the TDV savings and you had all
20 three of these proposals. Are you grouping these together
21 when you're doing your savings analysis?

22 MR. ZHANG: Yes.

23 MS. BROOKE: So if you're grouping those together
24 for your savings analysis and then you were just talking
25 about you could do a high efficiency water heater in place

1 of solar, are you saying in place of all three of these or
2 just in place of solar?

3 MR. ZHANG: Just in place of solar.

4 MS. BROOKE: Okay.

5 MR. ZHANG: Now, what I did not talk about, for
6 example, is the control side. In all of the early slides
7 there was more than one control technology available, right?
8 So when we say prescriptively we want you to have demand
9 control, it's also the intention that we don't want the code
10 to only demand using of one technology. So we want to have
11 the code in a sense technology neutral, only use the demand
12 control to set the budget. And people can use other
13 controls.

14 MS. BROOKE: But they have to use the performance
15 approach.

16 MR. ZHANG: Yes.

17 MS. BROOKE: All right.

18 MR. ZHANG: Right. So this is the prescriptive
19 requirement part. This is the solar fractions that we are
20 proposing for each climate zone. And some of them - Climate
21 Zone 15, the desert area, is showing that it's very cost
22 effective, it's actually cost effective at 65 percent. And
23 also, you know, it can be replaced with other measures at
24 high solar fraction. The reason we set that 0.5 is that we
25 don't want to cause basically overheating situations.

1 MR. SHIRAKH: Yanda, you're showing solar fraction
2 of 0.40 in Climate Zone 16 for solar. Is that a problem for
3 such cold climate zones? Is there a maintenance issue
4 involved there?

5 MR. ZHANG: Well, when we had the stakeholder
6 meetings and I think this was talked about from the very
7 beginning. You know, the information we get from people
8 is, you know, the industry collectively has addressed those
9 issues in the past couple of years. Although there is not
10 one single standard but there are definitely different types
11 of technologies to address the safety issue. Basically, our
12 feedback is, you know, there are technologies being able to
13 address that issue.

14 MS. BROOKE: The one thing that I would make a
15 comment on at this point is that we are trying to move
16 towards more consistency across climate zones for our
17 prescriptive requirements. And so I see, you know, multiple
18 levels of solar fraction. So we might talk about what do we
19 lose if we just get it down to one or two levels instead of
20 multiple levels across climate zones.

21 MR. ZHANG: Yes.

22 MR. SHIRAKH: Going back to my question for a
23 second, then what you're saying is technology has improved
24 to the point that freezing is not an issue?

25 MR. ZHANG: Yes, freezing protection technology is

1 mature now.

2 MR. SHIRAKH: Okay, thank you.

3 MR. ZHANG: John, please.

4 MR. MCHUGH: So, Yanda, for these solar fractions do
5 these reflect a particular square foot of collector area per
6 square foot of dwelling units? I mean, it looks like
7 Climate Zone 15 has a higher solar fraction. It might be
8 that there is actually some consistency in terms of design
9 consistency. Could you describe how that relates?

10 MR. ZHANG: Why we picked the 0.5 for Climate Zone
11 15?

12 MR. MCHUGH: Yes.

13 MR. ZHANG: Versus low of others. Good question.
14 You know, first is the cost effective analysis. We are
15 showing here - for example, going back to Climate Zone 15 -
16 is that it can be cost effective even if you have 70 percent
17 solar fraction. But we didn't pick that high number. The
18 thinking is that if you pick at the high level one is how
19 you can alternatively using other approaches, if you do not
20 want to use solar water heating. So this goes back to this
21 table. We basically set up the levels based on what are the
22 alternatives, the limit that the alternative method can
23 achieve. So this is where it came from. We are basically
24 saying by using high efficiency HVAC and hot water heating
25 equipments those are the level of savings. By the way,

1 those are the cost effective measures. You can always go
2 SEER 16 to achieve higher but that's not what we included
3 here because there would be cost effective issues. But we
4 only considered the cost effective alternatives.

5 MR. MCHUGH: And what is high efficiency air
6 conditioner, what SEER are you looking at?

7 MR. ZHANG: 15.

8 MR. MCHUGH: 15. Thanks.

9 MR. ZHANG: Okay.

10 MS. BROOKE: Just to clarify, they have to do all
11 three of those high efficiency air conditioner, high
12 efficiency furnace, high efficiency water heater?

13 MR. ZHANG: Yes. Well -

14 MS. BROOKE: Oh, if it says yes, they have to do all
15 three of them?

16 MR. ZHANG: Right.

17 MS. BROOKE: Okay.

18 MR. ZHANG: Okay, this is the section of the code
19 proposal, is the solar water heating ready part. Well,
20 basically, it suggests mandatory requirements that, you
21 know, the following items shall be labeled and showing on
22 the plan for permit. And those items are in the following
23 slides, they are related to solar-ready components. Let's
24 just go over the overview. A is the adequate in a sense
25 roof areas or other areas for solar collectors. And B here

1 is the solar tank areas to accommodate future installation
2 of solar storage tank. And C is the plumbing requirement,
3 not really asking to plumbing them now instead of asking you
4 to ask people to have the conduit pass be specified for
5 future installation. And also the same thing here is
6 specifying conduit between the solar tank and water heater.
7 Basically we want in the future to not only have collector
8 area being prepared but also you prepare that plumbing can
9 be relatively easily done between solar collectors and the
10 solar tanks and solar tanks and auxiliary water heaters.
11 And the exception to all those mandatory requirements is
12 that if you are going to install - if you install solar
13 water heating, obviously, none of those apply.

14 Let's go back to some of the details. Again, what
15 is the solar zone, roughly roof area we are requiring. The
16 difference between solar zone - not the difference, let's
17 just say the solar zone potentially can be on your roof or
18 can be in other spaces on the building site, for example, a
19 shaded parking. So the basic requirement is that your solar
20 zone should be 1.5 percent of your building conditioned
21 floor area or 30 percent of your total available roof area,
22 whichever is smaller. So in a sense the maximum we require
23 you is to have 30 percent of your available roof area. The
24 available roof area excluding areas that are shaded by
25 existing trees, utility poles or other buildings. So it's

1 only unshaded, they are being required to have 30 percent or
2 less to be ready for future installation. And the second
3 requirement is the solar zone shading requirement. This is
4 more or less the same as we proposed for other CASE studies,
5 we coordinated with other CASE studies for res and nonres
6 solar-ready measures. They are pretty much the same. And
7 the third is also similar to what we proposed for other
8 solar-ready requirements to include the consideration of
9 fire access.

10 So this is my presentation.

11 MR. SHIRAKH: Thank you, Yanda. Any questions for
12 Yanda from the audience in the room? Mike?

13 MR. HODGSON: Mike Hodgson, ConSol. This is not the
14 presentation that was on the website last night. So I'm
15 just wondering is it now currently posted at the website?

16 MR. ZHANG: We did make some slight change, yes.

17 MR. HODGSON: Okay.

18 MR. ZHANG: So I think -

19 MR. SHIRAKH: Yes, we will replace what's current
20 with this.

21 MR. HODGSON: It's awkward to look at one, try to
22 get ready for one and then have something fairly
23 significantly different in our opinion. The data that I
24 would like to see and I didn't see in your presentation or
25 in the previous presentation is the cost data. So you're

1 saying that solar hot water is cost effective. And what
2 assumption did you make on the cost of the solar hot water
3 system?

4 MR. ZHANG: Well, not in details, but this slide,
5 for example, showing the cost curve, the installed system
6 cost versus the size of the collector.

7 MR. HODGSON: Okay.

8 MR. ZHANG: And the next slides, you know, we have
9 talked of in 30 years what you can expect to replace and the
10 cost of those - let's see, is this one, maybe this is not
11 the - oh, this is the lump sum of what would be the
12 maintenance costs, including replacement of parts.

13 MR. HODGSON: One of my concerns, as an example on
14 this slide, you're looking at life expectancy of motor and
15 pumps.

16 MR. ZHANG: Yes.

17 MR. HODGSON: I'm not that up to speed on multi-
18 family solar systems but in the single family world the
19 pumps are not - there is no warranty that I'm familiar with
20 greater than three years. And typical longevity of a pump
21 on a solar hot water system like a Tyco(ph) or any of those
22 that are in the market today are less than five years. So
23 I'm wondering where some of the data comes from on this.
24 Like, in a collector, the photovoltaic collectors are
25 warrantied now for 20 years. I don't know of any solar hot

1 water collector that's warrantied for 20 years. So are you
2 making those assumptions that if you have it in life
3 expectancy that you will have the market warranty it for
4 that period of time

5 MR. ZHANG: Not based on the market warranty, it's
6 based on industry data.

7 MR. HODGSON: Okay.

8 MR. ZHANG: So we can definitely share that with
9 you.

10 MR. HODGSON: Okay. So could you kind of dissect
11 then what you think the cost of - I don't know how large a
12 solar hot water system you're looking at, again that's
13 difficult to tell. Is this a 16-plex, is this a 12-plex,
14 what building are you looking at? So then go to your slide
15 that then says this is the cost of the system, which is hard
16 for me to interpolate.

17 MR. ZHANG: True, it's not all detailed here. But
18 if you go, for example, from here it tells you - let's see,
19 do I have it here? I guess unfortunately here. But it does
20 have - for example, this is the prototype building we're
21 talking about, right? One is two story and the other is
22 four story. And from the conditioned floor areas you can
23 calculate what is the expected hot water demand, daily
24 demand, right? So in general in the solar industry they
25 basically size it by the daily demand and then multiply a

1 fraction, 0.5 or 0.3. So they basically use that fraction
2 to size accordingly.

3 MR. HODGSON: We're just trying to be able to figure
4 out what you're talking about. And I apologize, it's not
5 clear to me because it's the first time we've seen a lot of
6 this data.

7 MR. ZHANG: Uh-huh.

8 MR. HODGSON: But I'm just trying to take your two
9 story example here. It looks like it's a 40-unit complex,
10 right?

11 MR. ZHANG: Uh-huh.

12 MR. HODGSON: So that means I'm going to have a roof
13 area of around 24,000 square feet, if I just kind of
14 extrapolate what I would know about multi-family. Then you
15 want 30 percent of that 24,000 square feet roof area as
16 clear space.

17 MR. ZHANG: No. What I said 1.5 percent -

18 MR. HODGSON: Okay, 1.5 -

19 MR. ZHANG: - up to 30 percent. If it is more than
20 30 percent we say stop there. But 1.5 percent.

21 MR. HODGSON: So we have a 40,000 square foot
22 building, does that translate into, what, 600 square feet at
23 1.5 percent?

24 MR. ZHANG: Let me see, I go back to this.

25 MR. SHIRAKH: About 360 square feet, if my

1 calculator is right.

2 MR. ZHANG: Yes. This might be a table that it can
3 have a better reference. This is what we are saying. If
4 you size your solar collector to meet 50 percent, solar
5 fraction would be 50 percent, for two-story building you
6 need three percent of your roof area. For a 20-story
7 building you need 28 percent of your roof area.

8 MR. HODGSON: Yeah, I apologize. I don't care about
9 anything three story or more. That's my personal reference,
10 all right.

11 MR. ZHANG: Okay, is that -

12 MR. HODGSON: I'm just trying to figure out if I
13 have a four-story building then I need four percent of my -

14 MR. ZHANG: Six percent.

15 MR. HODGSON: Excuse me, a three-story building,
16 four percent of my footprint. If I have ten units on the
17 first floor, ten units on the - so I have a 10,000 square
18 foot probable roof area.

19 MR. ZHANG: Uh-huh.

20 MR. HODGSON: On a three story, so I need four
21 percent of 10,000, right?

22 MR. ZHANG: Right.

23 MR. HODGSON: That's 400 square feet. So I need
24 somewhere clear on my roof 20 x 20.

25 MR. ZHANG: Right.

1 MR. HODGSON: And you've looked at that and said
2 that that's a reasonable thing to do on three-story multi-
3 family buildings?

4 MR. ZHANG: I think -

5 MR. HODGSON: I mean, I've been on a lot of three-
6 story multi-family buildings, there is no clear space on a
7 multi-family building at three stories with all the vents,
8 okay?

9 MR. ZHANG: First of all, you have collector size is
10 not big chunk of piece of 400 square feet. It's obviously,
11 you know -

12 MR. HODGSON: This is not clear space, this is just
13 individual spaces that could add up?

14 MR. ZHANG: You can, you can.

15 MR. HODGSON: All right. So I think this needs to
16 be a little clearer.

17 MR. ZHANG: Okay.

18 MR. HODGSON: Because we don't understand it or at
19 least, let me speak for myself, I don't get it. And I think
20 the presentation needs to figure out how much this costs and
21 where these things need to go so that we can respond to what
22 you're asking.

23 MR. SHIRAKH: It sounds like we need to have a
24 discussion with Mike and Bob about this topic.

25 MR. ZHANG: Right.

1 MR. HODGSON: Okay.

2 MR. SHIRAKH: Your CASE report should have more of
3 this detail, right?

4 MR. ZHANG: Yes.

5 MR. SHIRAKH: Can you make that available to us?

6 MR. ZHANG: Yes.

7 MR. HODGSON: Okay, thank you.

8 MR. SHIRAKH: Bob?

9 MR. RAYMER: Bob Raymer with CBIA. When you were
10 gathering data from manufacturers and you asked them about
11 the life expectancy, did you follow-up with a similar
12 question of what do they warranty that same component? I
13 mean, if they are telling you 10 years for the motor and
14 pump, did you ask any of them what they actually warranty
15 these components for?

16 MR. ZHANG: I don't - first of all I have to say I
17 did not personally collect that. I would not say - probably
18 better to say we want to get back to you. Because actually
19 it is a combined effort. (unintelligible) had a couple
20 solar studies, actually we kind of coordinate together, had
21 conferences with industry.

22 MR. RAYMER: We got a quick education on this about
23 seven years ago with the passage of SB1, where at one time
24 the sponsors of the bill and industry felt very comfortable
25 putting into the bill that if you're going to get state

1 money put in a requirement, a warranty requirement of, I
2 think it was either 15 or 20 years. And then all of a
3 sudden the industry had a conniption fit over that. They
4 did not like a 15 or 20 year warranty. It was very
5 difficult to get them to agree to a 10 year.

6 MR. ZHANG: Uh-huh.

7 MR. RAYMER: Now, obviously I'm assuming that there
8 has been advancement but now we're talking about water
9 heating and those components. You may have instances of the
10 motor and pump lasting 10 years but they don't warranty it
11 for that. And the same thing goes for the collectors.

12 MR. ZHANG: Let me also ask this, I guess,
13 fundamental question to everyone. I think a lot of - for
14 example, you buy HVAC, we have cost analysis, it goes to 10
15 years, 12 years. It does not mean industry they say I
16 warrant for 10 years.

17 MR. RAYMER: Some systems are required by law -
18 you've got a three, five and 10 year warranty minimum,
19 certain structural things with the house, it has a 10 year
20 warranty by law.

21 MR. ZHANG: Again, my question is that just because
22 they don't provide a warranty for 20 years doesn't mean we -

23 MR. RAYMER: Doesn't mean that it won't last, I
24 agree with that. At the same time, though, it should be
25 cause to alarm if they have a warranty that is much, much

1 smaller than the useful life that you may be assuming. That
2 may be a sign that you're probably going to be replacing
3 this twice during the life of the building.

4 MR. ZHANG: Yeah.

5 MR. SHIRAKH: John McHugh.

6 MR. MCHUGH: I would just like to comment that if
7 you look at the - you know, we typically assume ballast life
8 of 15 years for lighting ballast and typically those aren't
9 warrantied past five years. So that's a situation where the
10 warranty is a third of what we expect the rated life to be.
11 It's not that surprising that many manufacturers are not
12 willing to warranty long past essentially the issues of
13 initial failure because there are so many issues associated
14 with how the product is operated that it can have an effect
15 on its product life.

16 MR. SHIRAKH: Any other questions?

17 MR. NESBITT: George Nesbitt. Can you go back to
18 the default design slide?

19 MR. ZHANG: Yes.

20 MR. NESBITT: So the default design is the Package
21 D, the -

22 MR. ZHANG: The standard design.

23 MR. NESBITT: I'm sorry, I'm sorry. Standard design
24 is Package D, okay. So the default design is assuming
25 something worse than the standard design?

1 MR. ZHANG: Right.

2 MR. NESBITT: Now, what if reality is worse than the
3 default design?

4 MR. ZHANG: Most of the time it is worse or can be
5 much worse usually. But again at the beginning I was saying
6 this is really the first step. We hope that we can provide
7 some guidance here. Realize that requiring check in plan
8 and design is really a complicated job for building officers
9 and for builders, too. So this is a first step. We realize
10 that, yes.

11 MR. NESBITT: So on average if someone doesn't want
12 to touch a button they'll take the default design and we're
13 going to give them more credit than they likely deserve
14 because most of the pipes are exposed in the parking garage
15 below the building.

16 MR. ZHANG: You're right.

17 MR. NESBITT: And so we're going to underestimate
18 energy use. Now if they decide to check a button they are
19 still being compared against the standard design and then
20 they will be punished for bad design.

21 MR. ZHANG: Well, yeah. The first is if you take
22 the default design we give them credit, not really. We are
23 not reflecting their true energy, yes, that's right. When I
24 say that is because right now in the code you input whatever
25 your design is and that's your standard design. So it

1 doesn't matter how bad or how good design is, you're not
2 getting credit and you cannot get penalized. So this
3 approach is basically here saying, If you take the default
4 design you know you get a slight hit because you are not
5 meeting the standard design, even your building can be much
6 worse.

7 MR. NESBITT: Right, but if you take the default
8 design you're not necessarily inputting your actual design.

9 MR. ZHANG: You're not.

10 MR. NESBITT: Okay.

11 MR. ZHANG: You're not. So if you really want to
12 put the actual design you can do that. So by looking at
13 this picture on the left you know that in real buildings you
14 will not be able to beat most of the time the default
15 design. So if you do think you did a good job, well, you
16 can say, My building is same as the standard design, so you
17 not get penalized. Then it will be exactly the same as
18 today, as the 2008 Title 24.

19 MR. NESBITT: I would imagine that most duct systems
20 that are not tested hopefully test below the 28 percent we
21 assume in the default design. So it seems like we're giving
22 credit where credit is not due. So in the prescriptive
23 package approach, prescriptive path you either have to
24 essentially do the standard design, best practice, or you
25 can trade it off for various components.

1 MR. ZHANG: Right.

2 MR. NESBITT: Most of the multi-family projects I
3 work on do not have an air conditioner. So are we going to
4 make them put 15/16 SEER air conditioners in every unit
5 where they don't have them, don't need them?

6 MR. ZHANG: Let's talk about this.

7 MR. NESBITT: Because most of the buildings only
8 have air conditioning possibly for the office and some
9 common areas.

10 MR. ZHANG: This is what I'm showing here. Most of
11 them - I'm assuming you're talking about those climate
12 zones, right? I'm not even considering you have an AC. The
13 prescriptive requirements assume you don't have AC to work
14 with.

15 MR. NESBITT: Okay.

16 MR. ZHANG: But you have heaters, right? And you
17 have hot water heaters, too.

18 MR. NESBITT: Well, and you have various by
19 building. So now because the standard design is the Package
20 D requirement and when you do performance path that's what
21 you're compared against. So Tom Conlan has accused me of
22 being very consistent and so I will stay true to that and
23 get back to high rise multi-family. Typically it is a
24 central system so it's going to be compared against the
25 standard design, best practice. Whereas if it was

1 individual units we would still be compared against
2 individual water heaters in the unit, which does happen even
3 in high rise multi-family, correct?

4 MR. ZHANG: The language is - yes, it's only for you
5 have a recirculation loop.

6 MR. NESBITT: Right.

7 MR. ZHANG: If you don't, you have individual
8 systems, this does not apply.

9 MR. NESBITT: Okay. So high rise multi-family in
10 part because of the low solar heat gain coefficients in the
11 nonresidential standards is relative - is in comparison hard
12 to get above code.

13 MR. ZHANG: Um-hmm.

14 MR. NESBITT: You have no HERS credits other than
15 duct testing basically available to you currently. And then
16 we have CTACC, the California Tax Allocation Credit
17 Committee, which now requires you be a minimum of 17.5
18 percent above minimum code. So we're going to compare you
19 against the absolute best system here and water heating is
20 usually -

21 MR. ZHANG: Right.

22 MR. NESBITT: - pretty significant part of your
23 budge. And now it may be very difficult and expensive to
24 get there. Now, I do have affordable housing developers
25 that are -

1 MR. ZHANG: Actually, George, what do you do today?

2 MR. NESBITT: - installing solar hot water. What do
3 I do today?

4 MR. ZHANG: What do you do to beat the compliance
5 requirement to get your incentives today? What are the
6 measures you're thinking of that we squeeze you out in a
7 sense?

8 MS. BROOKE: Time out. We've got about two minutes
9 more for this one, we gotta keep going. So let's keep
10 going. So I don't know if we can get into every detail that
11 you want to discuss, George.

12 MR. NESBITT: Right.

13 MS. BROOKE: Maybe we can get some of this offline.

14 MR. ZHANG: Okay.

15 MR. NESBITT: Yeah. It's just - you can have 2 x 6
16 walls, you can have 0.3 solar heat gain coefficient windows,
17 you know. And you're still not there. You could have a
18 central boiler, you could have a, you know, high efficiency,
19 you can - you know, getting to 15 percent is sometimes
20 actually impossible without -

21 MR. ZHANG: But, George, let me just show you, just
22 summarize it. And I say let's go back to this table again.
23 Those are the solar fractions in the prescriptive package.
24 You add another 15 percent, you beat it. Instead of using
25 20 percent solar fraction, if you want to use 35 percent.

1 Not only that, if you're going to install solar you still
2 have the option of doing your high efficiency boiler and
3 high efficiency furnace, they are still there. Right?

4 MR. NESBITT: Yeah, but on high rise multi-family
5 you've got virtually nothing else. I mean, you can't even
6 install your insulation correctly in high rise. I guess
7 everyone does. In fact I don't know if we're actually
8 assuming QII or D-rated in high rise.

9 MS. BROOKE: Okay, we're going to have to - you
10 guys, I think, should keep talking and - I'm struggling to
11 understand your issue. So if you could go back and talk
12 with Yanda and then come and talk to us about what your
13 issue is. Because we're burning time and you guys are
14 having a private conversation that we're not involved in, it
15 sounds like.

16 MR. NESBITT: I just think on high rise we've got a
17 pretty darn hard bar.

18 MS. BROOKE: Okay, thanks, George.

19 MR. SHIRAKH: Thank you. Mike?+

20 MR. HODGSON: Mike Hodgson, ConSol. A quick
21 clarifying question. The title of this presentation is
22 Multi-Family Domestic Hot Water and Solar Water Heating but
23 it only applies to the systems that have a recirculating
24 system, is that correct?

25 MR. ZHANG: You are right.

1 MR. HODGSON: Okay, so if we have an individual tank
2 in an apartment complex or condo then this is not pertinent?

3 MR. ZHANG: Yes, if your distribution of a tank and
4 then branch out to individual units, you don't have a loop,
5 it does not apply.

6 MR. HODGSON: Okay. It would be nice to have a more
7 specific topic title.

8 MR. SHIRAKH: Very good point.

9 MR. ZHANG: I think it's specified here.

10 MR. SHIRAKH: Any other comments from the audience?

11 (No response.)

12 Anybody online?

13 (No response.)

14 Okay, why don't we move to the second topic, which
15 is Residential High Efficiency Water Heater Ready Measures.

16 MR. ZHANG: So this topic is still related to hot
17 water heating but it's for single family hot water heating
18 instead of multi-family. This CASE study looked at the
19 opportunities to make building ready for high efficiency
20 water heaters, not requiring this installation, instead
21 making ready. And the major reason is that we have various
22 federal standards and California standards that are driving
23 the market towards using high efficiency water heaters. So
24 the specific measures we are talking about here include four
25 components. One is the electric connection, the second is

1 the vent system, the third is condensate disposal and the
2 fourth is gas supply. We will talk about them in detail
3 later.

4 I also want to mention that at the early stage of
5 the CASE study we looked at the opportunities of any savings
6 from flue dampers. We based it on the data collected,
7 stakeholder feedback, (unintelligible) not consider them
8 because there are technical feasibility issues. And we also
9 look at - considered adding the water heater blanket
10 requirements, I should say enhanced existing water heater
11 blanket requirements. And we also realize that potential
12 saving is relatively small so it's not as effective as we
13 thought. So again, just to summarize and to report to you
14 that those are the things we studied but decided not to
15 propose.

16 So the first thing we would like to bring your
17 attention is the new federal standards, which will be
18 effective in 2015, one year after the 2013 Title 24 standard
19 effective dates. You can see that federal standards already
20 began to require high efficiency water heaters. By that I
21 mean one is condensing, another one is power vent system. So
22 specifically for gas storage type water heaters with storage
23 of more than 55 gallons - and you can see the energy factor
24 will be 0.75, 0.76, which you can only meet it with
25 condensing water heater. And for instantaneous water

1 heaters, or tankless water heaters, the energy factor is
2 0.82. You know, you have to meet it with the power vent
3 system.

4 Again we are saying they will already be required so
5 we need to bring all the house ready for them. It's true
6 that if you are using standard 50 or 40 gallon storage water
7 heaters they are not required to be power vent. And related
8 to that is Energy Star Programs. The new Energy Star
9 Programs shown here, one is for storage type, one is for the
10 tankless type. And, in fact, you can see that for the
11 tankless it's the same as the new federal standards. So,
12 you know, it probably will be updated soon because
13 eventually it will be the minimum requirement, I don't think
14 it will be the Energy Star requirement anymore. And 0.67 is
15 the new requirement for storage type water heaters.
16 Traditionally that probably can only be met by power vent
17 systems but I like to point out there are technology
18 developments that allows still the atmospheric combustion
19 natural draft water heaters to reach this efficiency level,
20 again without power vent.

21 Another really quite related requirement is the
22 California low NOx requirement being adopted by several
23 local air quality districts, even just six of them but they
24 cover roughly 77 percent of California in terms of
25 population. And in a sense, you know, it's not the whole

1 water heater efficiency requirement but they are directly
2 related to that. When I say that is because if you want to
3 meet the low NOx requirement and meet the Energy Star
4 requirements you have to have power supply. So that's also
5 another reason, you know, we recommend that electric
6 connection should be there because otherwise consumers in
7 most of California are basically shut out of the Energy Star
8 Program. You know, that's kind of unfair.

9 So when I put all those things together and also
10 trying to give you perspective that we know that federal
11 standards will be evolving. So what they would like be?
12 Because when you buy a house obviously it lasts more than 30
13 years, we need to consider that time frame. So on the left
14 side is the different levels considered by the DOE for gas
15 storage type water heaters. On the right side is for
16 tankless water heaters. So what's being graded out is what
17 will be our law in the sense by the DOE standards by 2015.
18 So those blue areas is options we have.

19 And I will also mark the Energy Star criteria
20 levels, correspond to all those different levels. And I
21 also mark the previous Energy Star levels that just trying
22 to indicate because all of those things more or less
23 together, you know, the previous Energy Star has been
24 adopted by the new - is adopted as a new federal standard.
25 So if that provides some reference you would see this will

1 be the future direction will be. And as we talk to the
2 industry, I talk to stakeholders, I think almost everyone
3 believe that within 30 years the next federal standards, you
4 know, will definitely go beyond the two level here, the
5 standing pilot goes beyond that. Within 30 years whether it
6 goes to condensing, it's highly possible but non one knows
7 for the storage type. But if you look at the instantaneous
8 water heater side. What's left is almost the standard
9 today. So within 30 years it's highly possible they will go
10 to condensing in terms of federal regulations. That is
11 another rationale we think support the recommendation that
12 we want to have house ready for high efficiency condensing
13 water heaters.

14 What is currently in the market? Does it support
15 the regulations? You know, one observation is the 2006-
16 2008 Utility Program Evaluation done by the CPUC. What they
17 found is that tankless water heaters, instantaneous water
18 heaters have been, you know, adopted at a very fast pace
19 going from under 1995 standards, zero percent, to 24
20 percent. That's basically 2006-2008 time frame. You
21 already get 24 percent of new construction using tankless
22 water heaters. This is very consistent, you know, with
23 manufacturer's assessment and they been basically saying
24 they projecting more than 10 percent growth rate of tankless
25 water heaters, you know, by 2015, that tankless water

1 heater, the minimal standard will be power banded systems.
2 And DOE also provide some projections here based on the AHI
3 shipment data, the industry shipment data. And Energy Star
4 kind of goes. And what they are saying is that without the
5 new federal standards that they will project that the market
6 share for, for example, storage - for high efficiency at
7 Energy Star or even beyond, will have roughly six percent of
8 the market share by 2015. And for tankless they predicting
9 that they will have, you know, the high efficiency tankless
10 will have, you know, 50 plus 20 plus - basically more than
11 80 percent of the tankless will be high efficiency by 2015.
12 This is without the federal standards, you know. Obviously,
13 with the federal standard we can only see those market share
14 going to go up.

15 So goes to specific measure feasibilities, measure
16 requirements. In the first ones, electric connection, what
17 we are recommending here is to have 120 volt electric
18 receptacles near a water heater because all power vent
19 system need that. Or, as I say before, even your low NOx
20 Energy Star water heaters need that, too. You know, in most
21 of the houses the water heater is located in the garage and
22 electric receptacle is already there. So all we potentially
23 say they need to be adjusted to move it closer to the water
24 heater.

25 And the second one is the condensate disposal

1 measures. And what it means is, one, you need to have a
2 drain line. Either it goes to the side wall, goes to
3 outside, or it goes to your building drainage. And this is
4 being done commonly for HVAC systems so it's not something
5 new. It can be easily implemented. Neutralizer is needed
6 but not as a building feature, those only needed when you
7 actually install a condensing water heater.

8 Flue vent. In our initial proposal we did trying to
9 see if is any solution for consumers such that you can
10 install a flue damper that works for all types of water
11 heaters. If that's a case, you know, obviously you can save
12 people a lot of money because they don't have to retrofit
13 it. You know, as we studied and hear stakeholder's feedback
14 we do realize that that solution is not really there. So we
15 can't find a flue vent product that fits all. For example,
16 normally for natural vent product you going to have Type B
17 vent but for power vent system usually you going to have
18 Category III or IV type vent. By the way, those categories
19 is created by the - what is that, National Fuel Gas
20 Association, I think. I have that in later slides. Also
21 there is issue, I know certain condensing water heaters are
22 tankless, especially tankless water heaters that use a
23 proprietary vent. So, again the issue is that there is not
24 really a kind of one solution or one product for all
25 solutions.

1 In terms of the gas supply, again we see a huge
2 amount of adoption of using tankless water heaters. So if
3 you are going to use half-inch gas supplies in many of the
4 homes, the result is you have to install a separate gas line
5 potentially from the meter to your water heater and to
6 support the water heater. Most of the time in most of the
7 house the exact pipelines for gas that can support tankless
8 water heater depends on your house. You know, depends on -
9 you know, the pressure is usually set but it depends on your
10 pipe, pipe run length, how many elbows you're going to have,
11 basically you have to do pressure loss calculation. But in
12 typical homes usually you going to need a three-quarter inch
13 pipe versus half-inch pipe. So for our cost analysis we
14 assume that you have to have a three-quarter inch pipe
15 versus half-inch pipe to meet this requirement.

16 So how do we perform the cost effective analysis?
17 This is again, you know, one of those ready measure, how do
18 we consider that? So we can consider basically, you know,
19 two scenarios. One, if you are going to do install high
20 efficiency water heaters - why? Because we say that federal
21 standards are going to require tankless to be high
22 efficiency, right? So if you're going to do them are they
23 cost effective? Is it cost effective to just install high
24 efficiency water heater? And, two, for the rest of the
25 people they do not want to install high efficiency water

1 now, instead we require them to get the house ready,
2 obviously that will have some additional cost, the ready
3 cost.

4 So we basically consider the kind of the whole new
5 construction population for those they do not using high
6 efficiency water heaters. That will be the total cost to
7 meet the ready measures. And then we also consider what the
8 possibility of avoided cost. For assessing those two
9 component, one is we need to know what is the existing
10 percent of buildings they were using high efficiency water
11 heater during new construction. And for future avoided cost
12 calculation we look at the percentage of population that
13 will upgrade to a high efficiency water heater. And then we
14 compare those two to see if the avoided cost is higher than
15 the total cost to meet the ready measure. If so, what will
16 be that - you know, the upgrade percentage would be. And we
17 use that to compare to the market trend to see does it make
18 sense.

19 So let's look at some of those numbers. First,
20 those are the water heater costs based on DOE rulemaking
21 documents. The DOE done very, very extensive studies, all
22 different stakeholders. And we know early on we had
23 stakeholders question the DOE status validity. And, you
24 know, obviously when you look at the DOE rulemaking
25 documents there is always different sides, opinions. You

1 know, we think that DOE's final result is very well vetted
2 with all the stakeholders. And that's why we decided to use
3 this sets of data instead of, you know, kind of create the
4 wheel again. We don't think we can have better assessment
5 of cost data than DOE.

6 So those are the cost data again for different
7 components for installation. I break it down into three
8 scenarios. There is the new construction cost. What would
9 be the cost of doing the retrofit that you decide to upgrade
10 your water heater to a high efficiency model. And also then
11 the replacement cost - replacement means that when you
12 replace it you don't upgrade, you use whatever you have.
13 Again, so three scenarios, what would be the cost. I listed
14 here for consistency. Previously we considered using the
15 stainless steel B-type vent but this is not used here
16 anymore because we don't require to install that, to install
17 stainless vent anyway. So this was used in previous
18 discussion but it's not used anymore since we changed the
19 proposal in a sense.

20 This is the cost effectiveness of different water
21 heater options. So what you can see - maybe just go up -
22 okay, stay here. On the top is the gas storage water
23 heater. Condensing water heater, they are actually cost
24 effective compared to baseline in some climate zones, not
25 all. But on average it is cost effective. But when you

1 look at the instantaneous water heaters all those levels
2 beyond the new federal standards they are cost effective.
3 This is to a certain degree not surprising. That's why we
4 see, we talk about new construction already have 24 percent
5 market penetration from zero. And industry also predicting
6 more than 10 percent growth. So I think, you know,
7 obviously there is some valid stories here that favor
8 instantaneous water heaters.

9 By the way, I do like to include this comments to
10 address the question before, is that we did consider the end
11 effect rating discount imposed by the Title 24 ACM. So
12 eight percent discount. So instead of using the rated value
13 for energy savings, I used the discounted value for energy
14 savings calculation.

15 So this is the cost savings. We consider what the
16 cost for a new construction, you just get the ready versus
17 in retrofit you have to retrofit your vent, your gas supply
18 and all that. So the estimate basically say this is the
19 incremental cost to get your house ready for high efficiency
20 it roughly cost \$133.00, compared to your baseline using
21 standard water heater. Your retrofit will cost you more
22 than a thousand dollars, \$1357.00.

23 So using the previous equations what it lead to is
24 that if you can - if we can expect 7.5 percent of the homes
25 will upgrade their water heater to high efficiency in the

1 future within thirty years it will be cost effective to do
2 it now. So can we expect 7.5 percent adoption in 30 years?
3 You know, given all the data we say, 10 percent growth of -
4 more than 10 percent growth of instantaneous water heaters,
5 right? And that's already beat this number easily. So
6 within 30 years also talk about, you know, there is highly
7 possible the storage tank federal standards will be at least
8 equivalent to power vent system if not condensing. So 75
9 percent is a very, you know, small fraction to what would
10 happen.

11 We would like to also bring up this, since we
12 presented in the stakeholder, I think it's a very useful
13 information. It's also consistent with a lot of the market
14 observations why tankless water heaters are favored.
15 Because it definitely provide a lot of savings opportunities
16 that using the existing 2008 ACM, you can see by using those
17 different high efficiency options you can improve your
18 (unintelligible) energy consumption TDV a lot, by a big
19 margin, 25 percent. And that basically translates to, you
20 know, five or 20 or 30 percent of your whole performance
21 budget, energy budget. So the cost is only roughly \$300.
22 So in a sense if you want to beat the code by 15 percent
23 it's not that - well, I shouldn't say that easily, but I
24 mean just saying here is the option that you can beat by 20
25 percent without that much cost, only \$300. So options are

1 there.

2 So this is to summarize the code language. And we
3 basically saying system using gas and propane water heaters
4 to serve individual dwelling units. So it does not apply to
5 multi-family central systems. They should include those
6 components, 120 volt electric receptacles within three feet
7 from the water heater, and Category III or IV vents,
8 condensate drain meet local jurisdiction requirements -
9 because, you know, can have potentially different
10 requirements locally - and gas supply line with capacity of
11 at least 200,000 BTU.

12 And, you know, exception to the vent requirement,
13 you don't have to do it, is that we want that you do install
14 or have a system that can be virtually easily retrofitted.
15 That means that if you don't install high efficiency water
16 heater along with the vent system we want you to specify in
17 your plan that they can be installed easily. The plan
18 should show a vent path less than 12 feet without any
19 interior walls along the path and a side wall vent location
20 in compliance with the National Fuel Gas Code. So where is
21 the 12 feet come from? And this is after we look at the
22 PIER research single family DHW systems, six typical home
23 designs, floor plans, and 12 feet is the average.
24 Obviously, it varies from house to house. Many times, for
25 example, my house water heater is located right next to the

1 side wall. It would be, you know, easy to in compliance.

2 But if you going to have your water heater located

3 differently that's potential defect.

4 I do want to bring this up. As we been discuss with
5 the industry quite intensively, especially after the last
6 stakeholder meetings and (unintelligible) and brought up a
7 good comments and also provide this proposal. And basically
8 saying, you know, my understanding he say other things make
9 sense. But he suggest the B, component of B and exception
10 to B rewriting different way. Which seems to us is more or
11 less the same thing.

12 This is the end of my presentation. Thanks.

13 MR. SHIRAKH: Mike?

14 MR. GABEL: Mike Gabel, Gabel Associates. So is it
15 my understanding then that as a mandatory measure this would
16 be triggered for alterations, if someone replaces their
17 water heater then they have to meet this requirement?

18 MR. ZHANG: It was not our intent.

19 MR. SHIRAKH: No.

20 MR. ZHANG: I don't think the code is written in
21 that way either.

22 MR. SHIRAKH: Well, I mean, this is going to go into
23 new construction. I think it will be in Section, what is it
24 150?

25 MR. ZHANG: 150.

1 MR. SHIRAKH: 150.

2 MR. GABEL: But -

3 MR. SHIRAKH: And 152 we have to clarify that this
4 does not apply to existing.

5 MR. GABEL: Okay, so this is not a mandatory measure
6 then?

7 MR. SHIRAKH: It is a mandatory measure but -

8 MR. GABEL: But only applied to new construction?

9 MR. SHIRAKH: New construction.

10 MR. GABEL: Okay. I just want to make sure that's
11 clear. Thanks.

12 MR. SHIRAKH: Mike?

13 MR. HODGSON: I would like to go to the market
14 analysis on your comment on that there were no water heaters
15 in 1995 in that slide. And then 24 percent market
16 penetration under 2005. Was that people who participated in
17 the new construction programs or was that of the market?

18 MR. ZHANG: It is the market. The CPUC evaluation
19 look at the Codes and Standards Program and the new
20 construction program altogether. So it's evaluated as a
21 whole.

22 MR. HODGSON: Okay.

23 MR. ZHANG: So it does not separate them out.

24 MR. HODGSON: Well, then I think that number is very
25 suspicious. Because it's a very high number. I'm a very

1 strong proponent of tankless water heaters, we try to
2 convince all of our clients to do that. But I just texted
3 the office and said, What's our market share of tankless
4 water heaters in 2011? And it's less than five percent. It
5 was higher two years ago, three years ago, when the market
6 was a little more robust. Because now we are cutting costs.
7 But I think you have an optimistic view and I don't think it
8 really affects too much of your analysis but I really don't
9 think there is a quarter of the market using tankless now or
10 in the near future.

11 And you could verify that by going to, you know,
12 CalCERTS and going through the HERS requirements and asking.
13 Because the Energy Commission could do a data request. I
14 just think - I'm not objecting to the analysis, I just think
15 that is quite optimistic. If it's 24 percent of the new
16 construction programs, which are those who are building
17 above code already, I think I could accept that number. But
18 then that's probably - their market share is probably ten
19 percent of the market, so now we're down to a 2.5 percent
20 market share. And I think it's higher than that. So I
21 think it's in between those two numbers, but I think 24 is
22 much too optimistic.

23 MR. ZHANG: I don't have a personal sense of it.
24 When I first read it I surprised too. But to me seems this
25 is the latest data I can have. And obviously when I look at

1 it I say, Oh, wow, and had that same feeling. And when I've
2 talked to people, you know, the industry. For example, A.O.
3 Smith, that's what their data, you know, their industry
4 studies. That's what the suggestion is, that tankless, they
5 are basically saying it's 10 percent growth year by year.

6 That's what they seeing go on forward. It kind of feels -

7 MR. HODGSON: And I can understand a ten percent
8 growth -

9 MR. ZHANG: - to me there is some consistency.

10 MR. HODGSON: - because it all is relative to where
11 you're growing from.

12 MS. BROOKE: Right.

13 MR. HODGSON: That I don't have an objection to. I
14 just think the perception that the market is already a
15 quarter percent tankless and that it itself is growing 10
16 percent a year needs to be kind of dug into a little deeper.
17 The Energy Commission has resources to do that because you
18 can screen the HERS providers and ask them, you know, what
19 has it been the last couple of years and you could get very
20 accurate data.

21 MR. SHIRAKH: Thanks. And I guess I don't know if -
22 I mean, I understand your point and you guys have a lot of
23 experience with this. But I think another point that he was
24 trying to make in 2015 there may be this change in federal
25 standards which may drive the market towards -

1 MR. HODGSON: Yeah, the ugliest appliance in the
2 house right now is the water heater.

3 MR. SHIRAKH: Yeah.

4 MR. HODGSON: So, I mean, federal standards move
5 very slowly and I think the concept of getting a power vent
6 in there is very intriguing. There is some cost data that
7 we need to look at. But if we're going there anywhere in
8 2015 is that a difficult thing to do? Having it as an
9 option on the plans sounds good, but no one plan checks this
10 stuff anyway. So, you know, we should talk about what you
11 want to have in the field as opposed to what you want to
12 have in the plans.

13 MR. SHIRAKH: Okay, thank you, Mike. Any other
14 questions?

15 MR. NESBITT: George Nesbitt. Can you go back to
16 the code language? The change in the start making the
17 supply to all gas water heaters is definitely the right
18 direction. So on the electric connection you have within
19 three feet. You probably also want to add language that it
20 be within the hot and the cold supply tap and ideally above
21 six feet. Because if you put in a tank you don't want that
22 outlet to be behind the tank because you won't be able to
23 plug it in or out and you can't usually move a tank.
24 Obviously, if you have a tankless and it's mounted lower
25 that can potentially be a little problem there if it's on

1 the outside. But we don't want to put an outlet where it
2 won't be useful. As someone who installs these things, it's
3 tough. You can tell someone to do something and they put it
4 in the wrong place.

5 On the condensate line, some difficulties. Although
6 not all high efficiency water heaters are condensing, it's
7 certain ultimately a way to go. Pretty much everything I do
8 is. One of the difficulties is you don't always have a
9 gravity drain so you're into a pump situation. The A.O.
10 Smith Vortex, which I've installed several of, the
11 condensate connection on the water heater is literally
12 within an inch of the floor, which is difficult.

13 MR. ZHANG: Yeah.

14 MR. NESBITT: I actually spent, I think, about eight
15 hours on a job last year running a condensate line under
16 decks, under crawl space, and then another eight hours
17 running my TNP. Unfortunately, we had to move the water
18 heater from right next to the outside wall.

19 MR. ZHANG: It tells you how much you appreciate the
20 ready measure would be, right?

21 MR. NESBITT: Yeah. Well, there's being ready and
22 then it's being useful when you need it.

23 The gas line, okay, good. You have a gas line.

24 MS. BROOKE: So, George, I missed what you - what
25 were you intending for a recommendation for the condensate

1 line?

2 MR. NESBITT: No, I think having it there,
3 absolutely. It comes down to location. I mean, obviously
4 you don't want to put it right under the hot and cold if
5 someone puts in a tank, that would - you know, it needs to
6 be to the side -

7 MR. ZHANG: Right.

8 MR. NESBITT: - but there are -

9 MR. ZHANG: But you prefer it's gravity-based drain,
10 right.

11 MR. NESBITT: Yeah, we would prefer it, obviously.
12 It's not always possible.

13 MR. ZHANG: If the water heater is too low and the
14 drain is at the very bottom then your condensate cannot have
15 a gravity drain to somewhere else. So then you have to hook
16 up a condensate pump. It's something you would like to
17 avoid.

18 MR. NESBITT: Yes. I mean, having a pipe, what we
19 don't want is people to throw it three feet high on a wall
20 where then you're going to be forced to pump it, perhaps.

21 MR. ZHANG: Right.

22 MR. NESBITT: Or go through greater effort. So
23 perhaps -

24 MR. ZHANG: Are you suggesting -

25 MR. NESBITT: - we do need to add the condensate -

1 MR. ZHANG: - the condensate drain line to be more
2 specific? Like be able to not sump well, like five feet
3 away probably makes sense.

4 MR. NESBITT: Perhaps we have to say it has to be at
5 ground level. You know, I mean we're not always going to
6 avoid having to go to a pump.

7 MR. ZHANG: Some location then.

8 MR. NESBITT: Yeah. I see on the gas line we've just
9 gone to the simple wording of having the capacity to provide
10 200,000 BTUs, which is great. Because obviously if you go
11 stainless steel flex you will probably need the one inch.

12 Mike asked about alterations. And that's a section
13 that needs really actually a lot of work and clarity for
14 when the code actually applies in alterations and what we do
15 and don't.

16 MR. ZHANG: You know, we said it does not apply to
17 alterations?

18 MR. NESBITT: Right.

19 MR. SHIRAKH: We say that but, you know, there are
20 some cases where this may apply. So we will think about
21 that. But for simple retrofits, I don't see why this should
22 apply because -

23 MR. NESBITT: Right, if you're doing a water heater
24 change-out, probably not.

25 MR. SHIRAKH: Yeah.

1 MR. NESBITT: And that's somewhere I don't know if
2 in the code where we define at what point you literally have
3 to comply as a new building.

4 MR. SHIRAKH: Well, that's - solar-ready we have to
5 think about that and this is kind of along the same lines,
6 you know. We will think of something. I don't have it in
7 my mind now.

8 MR. NESBITT: What if I put in an electric water
9 heater? Now, in order to do it to code I may or may not
10 have to do solar hot water depending on whether I'm
11 prescriptive or performance. If the house is served by gas
12 would we want them to have the capability of having a
13 condensate drain, electric power - although if they have an
14 electric water heater they're going to have 220 volts. But
15 would we want them to have the ability to go to gas, is a
16 question worth asking.

17 The last is the vent flue and we beat this around a
18 lot. I think the difficulty is there's too many
19 technologies we can use. There is no - it's not like high
20 efficiency gas furnaces where everything is plastic pipe. I
21 can't think of one gas condensing furnace that isn't. So
22 obviously we can't specify what kind of vent you would put
23 in for the future. Whether or not 12 feet horizontal,
24 difficulty. A lot of newer developments have virtually no
25 lot line so no setback. So if our 12 feet is to a setback

1 that would not allow us to vent horizontally. We are going
2 to then have to run vertically also. So the problem with
3 the vent is I think specifying anything, although it's
4 certainly an ideal that a water heater is located on an
5 outside wall and that it should have adequate clearance to
6 go horizontal or to be able to go vertically up the outside.
7 Perhaps difficult in practice.

8 MR. ZHANG: So related to that I think, yes, these
9 are good comments. But I think we do need to consider that
10 because the federal rulemaking, when they consider this they
11 did not say, Oh, because you have homes out there, you know,
12 you have to have them retrofit so I don't consider go
13 through the next level, right? You know, they basically
14 look at on average what is cost effective. Once they force
15 us to go to a power vent all of us have to retrofit. All
16 those problems you're saying, if we don't do it correctly
17 people is going to suffer.

18 MR. NESBITT: I mean, most of the time retrofitting,
19 especially with plastic venting, is easy. If we talk about
20 stainless steel and tankless that gets extremely expensive.
21 And even B vent ends up - is actually not cheap, especially
22 as you get into longer horizontal runs and longer vertical
23 runs. But, I mean, overall we definitely - planning for the
24 future is good and it's something I do, whether it's pre-
25 plumbing for solar, electric, PV, you know, trying to

1 future-proof. The difficulty is predicting future. And I
2 would say this is - from where this was last week this is
3 vastly improved and I think just a few minor little tweaks
4 in the vent issue is really, I think, the biggest problem.

5 MS. BROOKE: Thanks, George.

6 MR. ZHANG: Thank you, George.

7 MR. SHIRAKH: Bob?

8 MR. RAYMER: Bob Raymer of CBIA. With regards to
9 the condensate drain, I agree with the statement. And, of
10 course, the builder and the site superintendent are going to
11 make sure that they meet the local requirements. It's just
12 that at the local level these requirements are more like
13 policy guidelines, they're not formal local requirements,
14 you know, adopted building standards modifications, state
15 code. They are guidelines. And they pretty much word of
16 mouth as opposed to written down and established. So that's
17 kind of how that works.

18 I agree with your statement, you need to make sure
19 that you comply with what the local jurisdiction has in
20 terms of their goals or whatever. If you don't, you can run
21 into slowdowns in the project, but it's not a formal issue
22 in most cases. You effectively ask Rick Renfro in Elk Grove
23 what are the requirements for Elk Grove and he'll tell you.
24 And you've got to have a little receiving pit down on the -
25 if you've got a backyard patio, it can't just fall right

1 onto the concrete. That's their requirement, but it's not
2 written down anywhere, Rick knows it. So I guess you could
3 put down, Ask Rick if you are in Elk Grove.

4 The other thing, if we could go back a page, the
5 upper statement. I'm sure there's an explanation for this
6 but 80 percent? Could you explain?

7 MR. ZHANG: If you go to the coastal climate zones
8 there is no heating.

9 MR. RAYMER: Oh, got you. I'm sorry, I understand.

10 MR. ZHANG: Okay, yeah.

11 MR. SHIRAKH: Thank you, Bob. Any other questions
12 from the audience?

13 (No response.)

14 Anybody online?

15 MR. WARE: Yes, we have a few questions. The first
16 one was sent by Frank Stananick (ph). He has an explanation
17 for an alternate proposal. The key point is that the
18 requirement for Category III or IV vent system is
19 impractical for atmospheric natural draft models. Those
20 models will always use the exception. Additionally, if the
21 installed model uses a Category III or IV vent you do not
22 need the requirement as a vent system will be required by
23 the model safety certification. Therefore, it is better
24 regulation writing to just specify what is now proposed as
25 an exception.

1 MS. BROOKE: So let me see if I understand that. He
2 wants us to put the exception in as the code and -

3 MR. ZHANG: Is already proposed here. This is his
4 proposal.

5 MS. BROOKE: This is his proposal?

6 MR. ZHANG: Yes, AHRI proposal. It is not using the
7 exception, just write that into the -

8 MS. BROOKE: Okay, no specification of a vent type?

9 MR. ZHANG: Yes, right. Just to specify the vent
10 pass if you are going to use the natural vent system.

11 MS. BROOKE: I see, I see, I see.

12 MR. SHIRAKH: And what's your reaction to that?

13 MR. ZHANG: I say that from a compliance point of
14 view it's the same. I don't think it cause any conflict.

15 MR. SHIRAKH: Okay, we will consider that. That
16 sounds like a good comment. Any other comments?

17 MR. WARE: Yes, there is one more.

18 MR. SHIRAKH: Are they online? You can speak, if
19 you wish.

20 MR. WARE: Jim, are you there?

21 MR. LUTZ: I can hear you, I don't know, can you
22 hear me?

23 MR. SHIRAKH: We can hear you.

24 MS. BROOKE: Hi, Jim.

25 MR. LUTZ: Hi, Martha. The comment on the electric

1 water heater -

2 MR. SHIRAKH: And could you give us your first name,
3 last name and affiliation, please?

4 MR. LUTZ: Jim Lutz, Lawrence Berkeley National Lab.
5 On the comment for the electric water heater, if you put in
6 an electric water heater if it's a heat pump water heater
7 you will need a condensate drain as well. So I would like
8 to see the condensate drain in there. That's my only
9 comment.

10 MS. BROOKE: Okay, thank you.

11 MR. SHIRAKH: Any other comments on this?

12 (No response.)

13 Okay, we're going to move to our last topic of the
14 day, which was actually previously presented, I think, about
15 two weeks ago and we had some comments on it. So we
16 basically are re-presenting it based on, you know,
17 modifications we did to the proposal. Marc Hoeschele is
18 going to do that. And we combined it with another proposal
19 that had to do with the showerheads so we made it into one
20 proposal.

21 MR. HOESCHELE: Hello, I'm Marc Hoeschele and this
22 proposal here was - at least there are two proposals that
23 have been put together because they are both related to
24 water heating and water heating energy use. And the single
25 family water heating distribution system enhancements

1 proposal was first presented at the May 24th workshop. And
2 I will be covering that. Owen Howlett of Heschong Mahone
3 will be presenting on the showerhead CASE study which will
4 follow right after this.

5 What I'm planning to do is not to cover all the
6 details from the original proposal but present the new
7 information. At the May 24th workshop there was some
8 concerns about the concept of the compact hot water
9 distribution system approach so we've kind of modified that
10 to provide more flexibility in meeting that measure. So the
11 proposals identified and presented previously related to
12 single family distribution systems - and this specifically
13 is to non-recirculating systems - is that all three-quarter
14 inch and larger piping will not be required to be insulated,
15 limiting the amount of one inch pipe in homes to a maximum
16 10 foot total length - and there is an exception to that -
17 and then as a prescriptive requirement making compact hot
18 water distribution systems the standard but now we've
19 allowed for a water heater efficiency trade-off as an
20 offramp to that. There are also proposals on ACM
21 modifications to better align the predicted energy use with
22 the residential appliance saturation survey and additional
23 evaluations related to how different distribution system
24 types, or DSMs, distribution system measures, are
25 represented within the ACM.

1 Bob?

2 MR. RAYMER: Can you go back to the previous slide,
3 please? Yes, Bob Raymer with CBIA. I would like to
4 reiterate the concerns that we raised at the previous
5 meeting and echo those that were made by CALBO regarding the
6 first three bullets, particularly bullets number two and
7 three. It would be our strong recommendation that the
8 Energy Commission consider at least bullets number two and
9 three as compliance credit for 2014 and then indicate
10 clearly that it's going to become a requirement of the
11 regulations in 2017. I think we heard compelling testimony
12 at the last meeting that in terms of field application of
13 this prescriptive measure we're not going to get there in
14 2014; that in particular the assumption of the compact water
15 distribution system, we're simply not going to see enough
16 education and training with the contractors, the plumbers,
17 the site superintendents, local enforcement, plan checkers
18 and we're not going to see communication between the energy
19 consultant, the site superintendent and the plumbers to be
20 able to actually have any chance of implementing this in a
21 quality fashion in 2014.

22 I understand that there are energy saving benefits
23 from this. But the field application of this, we're going
24 to be trying to do way too much that hasn't been done in the
25 past in too short of a time. And, as Tom Garcia from CALBO

1 indicated at the last meeting, we are setting ourselves up
2 for failure. I think you're going to find a lot of energy
3 consultants will use this at the front end of their
4 calculation. That information is not going to get
5 adequately transferred to the subcontractors and you're not
6 going to see this actually applied and we're going to have
7 red tags or non-compliance.

8 MS. BROOKE: So we heard your concerns and Tom's
9 concerns and we tried to address them with what Mark is
10 going to present next. And so -

11 MR. RAYMER: The offramp?

12 MS. BROOKE: No, our redo of the compact design
13 proposal.

14 MR. RAYMER: Okay.

15 MS. BROOKE: And so come back up at the end of that.

16 MR. RAYMER: I'm sorry.

17 MS. BROOKE: No, that's okay. Thanks, Bob.

18 MR. SHIRAKH: The compact design, if I understand
19 Tom's concern, was because, you know, he thought you could
20 not plan-check this because it was based on the actual
21 length of the pipe. So we changed that requirement. Why
22 don't you hear that and then let us know of specific
23 concerns.

24 MR. RAYMER: Okay.

25 MR. HOESCHELE: Yes, so I will get into those

1 details. So, we've done a lot of field work looking at
2 plumbing installations, piping installations prior to
3 drywall and taking detailed measurements on what gets
4 installed in terms of length and diameter and where the
5 piping is installed. And this graph basically shows data
6 from about, I think, 75 homes. And it's the average volume
7 between the water heater and each of the fixtures in the
8 house. So there is a lot of clustering of data around one
9 gallon, which suggests that for any fixture in the house, or
10 the average fixture in the house, it would be one gallon of
11 water between the water heater and that fixture. And then
12 we show recirculation systems here also, which have much
13 higher volumes. They do result in much less water waste but
14 we have to be concerned about how much energy is contained
15 in the recirculation loop in terms of hot water.

16 The key point to take from this is how much
17 variation there is vertically at any one given floor area.
18 If you look at 2000 feet you will see a wide spread between
19 the best performing house at about half a gallon average
20 volume to the worst performing at 1.5. So there is a lot of
21 variability in the field. This data is looking at how
22 common one inch piping is and the length of one inch piping
23 is on the left-hand axis. On the right-hand axis is the
24 floor area of the house. And there are 110 data points
25 shown here. Seventy of the 110 have less than 10 feet of

1 one inch piping, so that's almost two-thirds. More common,
2 but not exclusively floor area-dependent, you see, you know,
3 houses with more than 10 feet. Actually, the worst one here
4 is a small 1200 square foot house that had almost 50 feet of
5 one inch piping. But, again, this data is all over the map.
6 So the goal here now, you know, is to focus on the worst
7 performers with the second mandatory measure related to
8 limiting the distance to 10 feet.

9 So again the field findings overall, you know,
10 working with PEX has a lot of performance advantages, it has
11 less volume per foot than copper, it's cheaper and easier to
12 install, no soldering required and so forth. But what we
13 seem to be finding in the field more often than not is that
14 there are a lot of sloppy installations which have too much
15 volume and too much pipe length. So we are trying to
16 address the length of the piping, the diameter, and then
17 require insulating piping where it's cost effective.

18 The tool used to evaluate the different cases, and
19 there are six prototype floor plans that we worked with that
20 were developed through a prior PIER project, the program is
21 HWSIM that was developed through funding from DOE's Building
22 America Program as well as the California Energy Commission.
23 And this just shows the detail that the model has. On the
24 left this is an input screen or actually two input screens
25 from the program. On the left-hand side is how you actually

1 lay out the piping in any given house and each pipe element
2 shown on that plumbing tree there would have a unique
3 length, pipe diameter, environment that it may be located
4 in, whether it's between floors or attic or garage, and pipe
5 material and the presence of insulation. So all those can
6 be modeled within the program.

7 On the right-hand side is displaying what one
8 particular draw, how it can be characterized. So this
9 defines where the hot water is being drawn, what time of day
10 it's being drawn and, you know, the volume of water to be
11 consumed, the minimum temperature and whether or not the use
12 type, such as for a shower where the person is going to wait
13 to insure that that minimum temperature has arrived at the
14 fixture. So the model tracks the flow of water through the
15 full plumbing tree to get the thermal impacts and the water
16 implications of water waste and so forth.

17 So from the May 24th workshop there are details
18 there, I haven't provided them all here. But I've provided
19 benefit-cost ratios for the three cases we're looking at.
20 Insulated piping greater than or equal to 3/4 inches was a
21 benefit-cost ratio of 1.53. Limiting one-inch piping to 10
22 feet, as we saw on the prior graph it's not that common but
23 when it does exist it's a highly cost effective thing to do
24 from an energy savings versus cost impact. And then the
25 third item, the compact hot water distribution system, which

1 is focused on locating the water heater more centrally
2 relative to hot water use points, it also benefits from the
3 architect looking at how the house is laid out. I mean, you
4 look at many floor plans and you can see opportunities for
5 flip-flopping master closet and a master bathroom that would
6 bring those use points 15 feet closer to the water heater,
7 reducing the volume. And then addressing the actual
8 plumbing layout, which is kind of the longer term goal for
9 education and training for the plumbing industry to install
10 these systems more efficiently.

11 So again the proposed requirements, as discussed,
12 greater than or equal to 3/4 inch piping, all would be
13 required to be insulated, limiting in non-recirculating
14 systems one inch pipe length to 10 feet total pipe length,
15 and then a compact hot water distribution system approach
16 with a water efficiency tradeoff as an offramp.

17 This was the proposal at the May 24th workshop. The
18 data points show the maximum run lengths from water heater
19 to fixture from a group of houses that we surveyed and the
20 red line was the proposed maximum length, which would
21 require field verification. And, you know, at that
22 workshop, as Bob pointed out, there was concern over the
23 feasibility of this. So we've reworked that now. And what
24 we're proposing after reviewing a set of plans, a set of 15
25 plans or so, we are proposing a two-stage approach where

1 there is a plan check, a maximum length from a plan check
2 process. And that's just a direct plan measurement from
3 water heater to fixture. And this is shown in the orange
4 line. And then there would be a field verification
5 consistent with the prior recommendation. So this would -
6 and the plan check process would provide a good indication
7 of whether or not you can achieve it in the field. It's not
8 a hundred percent guarantee because there are always
9 anomalies that are encountered. But it gives you a good
10 sense of whether you can achieve it or not.

11 So the offramp that we are providing now, instead of
12 the - we would still set the prescriptive requirement at the
13 performance level of a compact hot water distribution system
14 and we're projecting that's in the 8-12 therms per year
15 savings range after looking at the other two measures as
16 mandatory requirements. So incremental to the pipe
17 insulation and 10 foot maximum pipe length, we're looking at
18 making up 8-12 therms per year. And when we look at the
19 ACM, how the ACM handles water heater efficiency, for a
20 typical sized house you're looking at a 0.02 to 0.04
21 increase in the energy factor of the water heater to offset
22 that. So this would be the tradeoff that you could pursue
23 in lieu of the compact hot water distribution system.

24 And Yanda presented some of this data. But looking
25 at efficiency levels, the different categories of water

1 heaters currently on the market, you know, gives you an
2 indication of where the performance breaks are and current
3 Title 24 - well, as I will show here. This slide basically
4 provides three cases for what you would need to get this
5 0.02 to 0.04 change in energy factor. The blue symbols on
6 the top show the current ACM modeling of the impact of
7 putting in a higher than standard efficiency water heater as
8 a function of energy factor. And this is for a 1761 square
9 foot house, so this is going to vary with floor area in a
10 small way. But one of the proposals that we have on the
11 table, presented at the May 24th workshop, was to bring the
12 budget into alignment, the ACM projected budget better in
13 alignment with RASS. So the red dots reflect approximately
14 where that will stand after that alignment is in place. And
15 then the green dots are looking at once the 2015 federal
16 requirements for improved efficiency come into play, you
17 know, what the impact will be.

18 So basically the impact under the estimated 2013
19 ACM, we're looking at about a 0.02 increase plus or minus to
20 offset the compact hot water distribution system impact. As
21 we move to the post-2015 environment we're looking at more
22 of a 0.04 range. If you look at the tankless as an example
23 they are shown at 0.82. And, you know, you can see there
24 the impact is much bigger. So pursuing that avenue or other
25 higher efficiency water heating strategies will get you a

1 bigger impact than the compact strategy.

2 So the code change proposals, mandatory requirements
3 for pipe insulation above 3/4 inch, limiting one inch pipe
4 length to 10 feet. And the one exception we would provide
5 for any large tubs that have high flow requirements, they
6 would be eligible for a dedicated line that could exceed 10
7 feet in length. But we would want that line to be dedicated
8 to that tub. Appendix E, the ACM - you know, we talked
9 about some upgrades to that, adjusting water heater set
10 points to bring the budgets in alignment and new
11 distribution system multipliers. And the prescriptive
12 requirement for the compact hot water distribution system
13 would be reflected with the language shown here and adding a
14 plan view measurement as the first step in the process as
15 part of the plan check process and then a HERS field
16 inspection for the final pipe measurement verification.
17 But, again, the tradeoff to this would be through the
18 performance path, would be putting in the higher efficiency
19 water heater as a tradeoff.

20 So I think I will take questions now before we
21 transition to Owen's presentation on the showerheads.

22 MR. RAYMER: Okay, I'm reading this for the first
23 time. I don't understand it. It may be good, I don't know.

24 MR. SHIRAKH: So if I can explain -

25 MR. RAYMER: The first comment, though, is are we

1 assuming that there are detailed plumbing plans that go
2 through plan check and then are inspected out in the field?
3 Is that kind of a general assumption that's kind of being
4 made here?

5 MR. HOESCHELE: No. I mean, the plan check process
6 is just a direct measurement off the plan, it's a very
7 simple -

8 MR. RAYMER: Okay.

9 MR. HOESCHELE: And so that's just kind of a
10 guideline to the Title 24 consultant, should I be pursuing
11 this strategy?

12 MR. RAYMER: Okay.

13 MR. HOESCHELE: You know, so some - I mean, you make
14 a good point, some people won't be prepared for this -

15 MR. RAYMER: Right.

16 MR. HOESCHELE: - but some people are. And so, you
17 know, we want to encourage that.

18 MR. SHIRAKH: Again, the difference between this and
19 the previous proposal was that in the previous one it was
20 the actual length of the pipe from the water heater.

21 MR. RAYMER: Right.

22 MR. SHIRAKH: Here it is just a simple plan view
23 distance between the fixture and the water heater on the
24 plan.

25 MR. RAYMER: Straight shot?

1 MR. SHIRAKH: Straight shot.

2 MR. HOESCHELE: Straight shot. So that's the plan
3 view check. But, Mazi, we will still have -

4 MR. RAYMER: And you're making that in plan check,
5 okay.

6 MR. HOESCHELE: We will still have the field
7 verification piece. So, you know, that's why the -

8 MR. RAYMER: So you would have a HERS inspector
9 taking a look -

10 MR. HOESCHELE: Right.

11 MR. RAYMER: - if you want to go that route?

12 MR. HOESCHELE: Exactly.

13 MR. RAYMER: Okay.

14 MR. SHIRAKH: Which is a little bit different than
15 what I was expecting, actually. You know, we thought one of
16 the options was to make the HERS verification a compliance
17 option.

18 MR. RAYMER: Oh, please.

19 MR. SHIRAKH: And this ended up in the prescriptive
20 and this is a little bit different than what I had expected.

21 MR. HOESCHELE: Okay, well we can, you know, work
22 through that detail. I mean, my thinking is still when you
23 review the plans and the take-offs, I mean, the plan view
24 isn't a guarantee that you will meet the requirement in the
25 field.

1 MR. RAYMER: We would really like to see HERS
2 inspection of this as a compliance option because, number
3 one, we're running out of options. I mean, that's the one
4 thing that seems to be pounded into everyone of these what
5 used to be options are now three-fourths of them are moving
6 to the left and they're becoming prescriptive or mandatory.
7 I understand the reasoning there, but the ability to now
8 say, Okay, yeah, it's in the prescriptive method but you
9 don't have to comply. Well, you better comply because
10 there's not a whole lot to grab onto anywhere.

11 MR. SHIRAKH: Yes, I understand that. I think we
12 do. So any other questions on this topic?

13 MR. ENSLOW: Tom Enslow on behalf of the California
14 State Pipe Trades. I just wanted to let you guys know that
15 we've asked our attorney-directors and some of our members
16 to take a look at these provisions and let you know if we
17 have any comments. I haven't got them back yet but if they
18 do come up with anything we feel we should share, we will
19 let you know as soon as possible.

20 You know, on a macro level I think we did hear some
21 concerns of people about the timeline of it and shared some
22 of CBIA's thoughts about making it a compliance option. You
23 know, the Pipe Trades has long supported energy efficiency
24 and water efficiency standards and moving in that direction
25 and they continue to support that but they also recognize we

1 need to make sure that people will actually put this stuff
2 in and the contractors are prepared to do this. You know,
3 they're moving in that direction. UA is improving their
4 green plumbing training for all of their members and their
5 contractors. And I think people will be ready for this. I
6 don't know if they would be ready for it, you know, at the
7 timeline that you guys initially suggested.

8 MR. SHIRAKH: I mean, the timeline we're talking
9 about is about three years from now. Is that not enough
10 time for people to - I mean, all they have to do is
11 basically do their plan check, plan view measurements,
12 insulate - yes?

13 MR. RAYMER: Bob Raymer with CBIA. For those of us
14 in the room - and there's very few, there's a lot of empty
15 seats today - we're beginning to understand what's being
16 proposed here. And, as I mentioned at the last meeting, a
17 lot more knowledge is going to start being disseminated once
18 we get to the March/April of 2012 when there is an adoption
19 of this. Then of course it goes to the Building Standards
20 Commission. And it will probably be formally adopted
21 sometime between March of 2012 and January of 2013.

22 MR. SHIRAKH: Right.

23 MR. RAYMER: It may well be adopted, you know, for
24 implementation with all the other codes. But it may be
25 adopted at one of the business meetings prior to where all

1 the building and fire and mechanic and plumbing codes get
2 adopted. You know, that is somewhat irrelevant. The
3 problem here is, it's going to get published on July -

4 MR. SHIRAKH: 2013.

5 MR. RAYMER: - of 2013. Right now you've got more
6 than 80 percent of the employees in the building industry -
7 residential, let's just look at residential right now. Over
8 80 percent of the employees are in the wind. They are not
9 working right now, they're gone, maybe their selling shoes,
10 cars, anything they can get jobs on right now. They are not
11 involved in the industry. They may be doing some retrofit
12 stuff. They are certainly not following this proceeding.
13 And so I am - and part of the thing that we will be trying
14 to do is keep those people who are still in the industry up
15 to speed on this.

16 But you've got to understand that as the economy
17 slowly comes out of this thing you're going to have a whole
18 lot of people wanting to get back into industry who are
19 going to come to the party with knowledge that may be five
20 to six years old. They're going to be very knowledgeable in
21 the 2005 standards. And that is not a good thing. And
22 that's why we keep - you know, CALBO and CBIA have kept
23 pounding away at this. We need long-term enduring training,
24 not just a really good one year plan. We need every year.
25 And understandably you are going to be changing these

1 regulations every three years, we get that. It's just that
2 a big problem that we now have is that you've got
3 effectively new people that are going to be coming back into
4 the industry that aren't going to know diddly about this.
5 And that's a big problem. And so I figure we've got
6 probably six months, not three years.

7 MR. SHIRAKH: George then Mike.

8 MR. NESBITT: So previously this was a mandatory
9 measure, correct?

10 MR. HOESCHELE: The compact?

11 MR. NESBITT: Yes.

12 MR. HOESCHELE: No, it was a prescriptive
13 requirement.

14 MR. NESBITT: Okay. Two weeks -

15 MR. SHIRAKH: They are both prescriptive.

16 MR. NESBITT: - is a long time and last night was
17 too short. So this is the package requirement. You comply
18 prescriptively, you have to do compact design and it's HERS-
19 verified?

20 MR. HOESCHELE: For setting the performance budget.
21 But you're saying the package requirement?

22 MR. NESBITT: Is this a Package D requirement?

23 MR. SHIRAKH: Yes.

24 MR. NESBITT: Or A maybe in the future. Okay.
25 Which means this is then, you can trade this off in the

1 performance method, you can choose to do bad design and not
2 have a HERS verification, okay. Obviously, we HERS raters
3 are hurting, too, and would like more work.

4 MR. RAYMER: We share your pain.

5 MR. NESBITT: I know, we do. So as Mike from ConSol
6 said, I mean, the water heater is the ugly appliance and the
7 distribution system is its ugly cousin. So it is a mess out
8 there and it is definitely a place we have to address. And
9 I guess for the purpose of the length verification, that
10 would be lineal feet of pipe, excluding the equivalent
11 lengths of fittings?

12 MR. HOESCHELE: Correct.

13 MR. NESBITT: Okay. And would it have to meet -
14 then it has to be within the maximum radius as well as the
15 maximum linear feet of pipe?

16 MR. HOESCHELE: Maximum radius meaning the one inch?

17 MR. NESBITT: No, the plan view.

18 MR. HOESCHELE: It would have to satisfy both,
19 correct.

20 MR. NESBITT: Okay. All right.

21 MR. HODGSON: Mike Hodgson, ConSol. Marc, just some
22 quick clarifications. The previous slide, which is 150
23 which is mandatory. Just so I got it, the one inch pipe is
24 still maximum 10 feet, no change there, correct, from two
25 weeks ago?

1 MR. HOESCHELE: Yes.

2 MR. SHIRAKH: What is the concern related to the one
3 inch pipe, can you reiterate that?

4 MR. HODGSON: I'm concerned whether or not the
5 manifold systems are within ten feet. Marc's data shows
6 they are, I'm not arguing with that I'm just concerned about
7 it and I think we need to explore it.

8 MR. SHIRAKH: Can you look into that and tell us,
9 you know, whether it's 10, 12, I don't know.

10 MR. HODGSON: Yes, we will. Just looking at water
11 heaters, doors, where the manifold system is in the garage
12 wall. We're guessing it's 12 to 15 feet, but we don't have
13 the field data that Marc has. I'm not arguing, just that's
14 a concern, we need to verify it and we will get back to you
15 by the deadline.

16 MR. SHIRAKH: Can you do that? Thank you.

17 MR. HODGSON: The 3/4 inch pipe insulation
18 requirement, that's hot and cold, correct?

19 MR. SHIRAKH: No.

20 MR. HOESCHELE: Hot only.

21 MR. HODGSON: Pardon?

22 MR. HOESCHELE: Hot only.

23 MR. HODGSON: Okay.

24 MR. SHIRAKH: I think we need to make that
25 clarification, that confused me, too. You know, we say all

1 pipes.

2 MR. HOESCHELE: Okay.

3 MR. HODGSON: It's all pipe and I'm just -

4 MR. SHIRAKH: It should say all hot water pipes.

5 MR. HODGSON: - trying to, this is code language.

6 And I think we probably need the code police to kind of go
7 through this and take a look at it.

8 MR. SHIRAKH: Yes.

9 MR. HODGSON: Okay, so back to 151, I think George
10 clarified most of my questions. This is what's going into
11 Package D aka Package A, right? So this sets up the
12 performance budget. So there is going to be a view and plan
13 check of, 2000 square feet has to be less than 26 linear
14 feet. And then there is going to be a requirement if you do
15 nothing to have a HERS inspector to check to make sure there
16 is 52 feet or less of maximum pipe, correct?

17 MR. HOESCHELE: Correct.

18 MR. HODGSON: So if this goes through then there is
19 an automatic HERS requirement unless the builder opts out?

20 MS. BROOKE: So, yeah, a couple of clarifying
21 things. One is that we talked about having an exception in
22 the prescriptive standard for high efficiency water heater.
23 So you wouldn't have to do the performance approach if you
24 just wanted to do a tradeoff with the high efficiency water
25 heater, is that correct?

1 MR. HOESCHELE: Correct.

2 MR. SHIRAKH: Well, that's the offer.

3 MR. HODGSON: In the package that you may propose.

4 MS. BROOKE: Yes, in the package so you don't have
5 to go to performance.

6 MR. HODGSON: Okay, cool.

7 MS. BROOKE: And then what Mazi and I are whispering
8 about is, you know, concurrence that we can make the HERS
9 verification a compliance option.

10 MR. HODGSON: Okay, thanks.

11 MR. SHIRAKH: Bob, did you have a comment?

12 (Mr. Raymer responds that he did not.)

13 Okay, Owen?

14 MR. HOWLETT: Owen Howlett from HMG. Maybe my
15 memory is not serving but I thought that we had discussed
16 that HMG had a requirement in our language that was going to
17 limit pipe diameter to half an inch and we dropped that
18 because I thought you were going to limit the 3/4 inch pipe
19 to 10 feet.

20 MR. SHIRAKH: No, that was not -

21 MR. HOWLETT: Not just the one inch pipe.

22 MR. SHIRAKH: I think what we said was we were going
23 to require insulating 3/4 inch pipes that are hot water.

24 MR. HOWLETT: Okay, so there's a hard cap on the
25 length of a one inch pipe but just insulation -

1 MR. SHIRAKH: There is on one inch pipe -

2 MR. HOWLETT: - on the 3/4.

3 MR. SHIRAKH: - but there is no limit on half-inch
4 or 3/4 inch. But the 3/4 inch and above must be insulated,
5 those are the requirements.

6 MR. HOWLETT: Okay.

7 MR. SHIRAKH: Any other questions?

8 (No response.)

9 Again Mike Hodgson would appreciate, you know, if
10 you look into that 10 feet one inch number and get back to
11 us. I think Martha and I agree that the HERS verification
12 should be a compliance option.

13 MR. HODGSON: Sorry, Mazi. Marc, real quick, just
14 I'm reading this chart correctly - and I'm looking at the
15 one that you did kind of the market survey, it had all the
16 blue dots on the bottom line - I'm presuming that chart is
17 showing us that there is no one inch in that system in those
18 homes, correct?

19 MR. HOESCHELE: Correct, at the zero level.

20 MR. HODGSON: Okay, so we're assuming whatever that
21 system was, was 3/4 or less in the house, right?

22 MR. HOESCHELE: Right.

23 MR. HODGSON: Okay, thanks.

24 MR. SHIRAKH: Any other questions in the audience
25 here on this topic?

1 (No response.)

2 What about online?

3 MR. WARE: A question from Jim Lutz from WebEx: Was
4 the value of water considered in this analysis? Higher
5 water heating efficiency doesn't save water to compensate
6 for not doing a compact HWDS.

7 MR. HOESCHELE: We have the ability. I mean, the
8 program calculates the water use and waste impacts. But
9 there is no real way to value it. Martha, do you have
10 anything to add there?

11 MS. BROOKE: Well, I guess one thing we could think
12 about is if we want to bump up that delta energy factor
13 number to make up for water loss, right?

14 MR. HOESCHELE: To ascribe embedded energy for
15 water?

16 MS. BROOKE: Yes. So that's something that we can
17 think about and see. If it doesn't create an unreasonable
18 delta for the energy factor then - let's look at it and see.
19 I mean, that would be a real appropriate thing to do. Mazi
20 said in his summary slide this morning that we were going to
21 consider water efficiency.

22 MR. SHIRAKH: I mean, we are considering it. The
23 whole thing is about limiting the pipe sizes and all that.

24 MS. BROOKE: I know but what I'm saying is that the
25 tradeoff is just a water efficiency update.

1 MR. SHIRAKH: Okay, we heard the comment. Any other
2 comments?

3 MR. WARE: Thomas, please introduce yourself.

4 MR. TRIMBERGER: Thank you. This is Thomas
5 Trimberger, I'm with Bureau Veritas. It kind of took me for
6 a little loop with that second chart for the June 9th. But
7 I guess my first thought was that none of the charted houses
8 on there would meet under the yellow line. But those are
9 measured in a different way, is that my understanding?

10 MR. HOESCHELE: Correct, Tom. That's right. So the
11 orange line is the plan view measurement, which is a direct
12 linear measurement.

13 MR. TRIMBERGER: Okay, so some of those may in
14 effect fall below the other line if you measure them
15 differently. Okay, I'm happy with that then.

16 A couple of other comments. One as far as
17 education. I've been the building official field for some
18 quite some time and we've been for years educating people to
19 size water lines large enough. So to start telling them to
20 size them smaller is an educational challenge. And, you
21 know, it makes sense if we can tell them to make them
22 shorter, but to make them smaller is not only a new concept
23 but it could be contrary to what we've been telling them for
24 a long time. There are regulations in the California
25 Plumbing Code that have minimum sizes for water lines. So

1 if we're going to have minimums and maximums it gets a
2 little tricky.

3 MR. HOESCHELE: So the thinking is by limiting the
4 one inch what we are wanting to happen is that instead of
5 having one main trunk line that it just gets split earlier
6 and transitions.

7 MR. TRIMBERGER: Okay, I can see that.

8 Another issue about adding another HERS rater is
9 another HERS visit. This is an inspection that would
10 typically happen during the framing stage of construction so
11 you are - I don't know if you've got other HERS issues that
12 are happening at framing. You know, some of the QII stuff
13 could be. But if you're building houses and if you're
14 adding - if you've got one HERS requirement at final and
15 then you have to add a second one at final that's not going
16 to be very expensive. But if you're adding a whole other
17 visit that could be a little bit more costly.

18 Those are my two comments.

19 MR. SHIRAKH: Good comments, Tom. Are you still
20 with Rancho Cordova?

21 MR. TRIMBERGER: No, I'm not. I'm with Bureau
22 Veritas.

23 MR. SHIRAKH: Oh, okay. Well, congratulations.

24 Okay, again, what Martha and I at least are thinking
25 is that the HERS verification should be a compliance option

1 and not part of the prescriptive package.

2 MR. TRIMBERGER: Right. And even as a compliance
3 option I did like that. But just looking at, you know, it
4 could be a whole other visit if you're hitting something at
5 framing that you don't already have inspections going on at
6 frame. That was my only concern.

7 MR. SHIRAKH: I understand. Thank you, Tom.

8 MR. TRIMBERGER: You bet.

9 MR. RAYMER: Tom is a very smart man and we agree
10 with him.

11 MR. SHIRAKH: Bob thinks you're a very smart man, I
12 just wanted to relay that to you.

13 MR. TRIMBERGER: Keep the faith, Bob.

14 MR. RAYMER: Love ya.

15 MR. SHIRAKH: And he loves you, too.

16 Any other comments?

17 MR. TRIMBERGER: That was all I had, thanks.

18 MR. SHIRAKH: Thank you. Any other comments on
19 this, the compact hot water or anything that Marc presented?

20 (No response.)

21 So we're going to have Owen briefly talk about the
22 showerheads, which is a related topic.

23 MR. WARE: There were a few comments.

24 MR. SHIRAKH: Oh.

25 MR. WARE: Going back what Jim said about whether

1 water was considered in this situation. He was referring to
2 the price of water and wastewater.

3 MR. SHIRAKH: I think we understood Jim's comment.

4 You know, Marc will look at some kind of tradeoff.

5 MR. HOWLETT: Okay, thank you. So, Mazi, what would
6 you like me to do in terms of timing?

7 MR. SHIRAKH: You know, we have until four, we can
8 probably go a few minutes past if you must.

9 MR. HOWLETT: Okay, so this is a measure that is new
10 to Title 24, it's something that has not been regulated
11 before. So what we were trying to do as we developed this
12 was make sure that we were not trying to push the envelope
13 too much. We're staying within some fairly conventional
14 bounds. And perhaps with the next code cycle, if this
15 raises no objections, it might push a little bit further.

16 So what we're proposing is to limit the showerhead
17 flow rate in new construction to 2 GPM measured at 80 psi.
18 That is in line with I think with current, not proposed, but
19 current language in CALGreen. And also it's in line with
20 the federal water standard. We are also requiring that only
21 one - sorry, we're requiring that a shower valve be
22 installed for each showerhead. So you can't have a shower
23 valve that controls multiple heads, you have to have a
24 shower valve that controls only one head. The intent of
25 this is to try and encourage people just to use one shower

1 instead of using lots and lots of showers all at once.
2 Because the multi-head showers are really a drain, not only
3 on water but also on energy.

4 I have a couple of notes here. One is that the
5 federal - there is a recently issued federal interpretation
6 of the existing showerhead standard. Because what
7 manufacturers have been doing was attaching multiple
8 showerheads into a single unit, sort of, you know, welding
9 them together and saying that because each individual
10 showerhead was under 2.5 GPM then this was a compliant
11 device, even the total flow rate of the whole thing might
12 have been 10 GPM. So the federal government issued an
13 interpretation that said that was not really what they had
14 intended in writing the standard in the first place and that
15 interpretation is going to become live two year from now.
16 So that will be before the implementation date of the Title
17 24 standards.

18 And also a little bit of housekeeping. The last
19 time we talked about this we had a proposed requirement that
20 the supply pipes be no wider than half an inch at any point
21 from the manifold. We had a chat with Marc Hoeschele and
22 the Commission and we decided that that would be dropped and
23 it was incorporated into Marc's proposed language.

24 So here are some data showing that - well, there was
25 a concern when we started out with this that if the

1 showerhead flow rate dropped people would just take longer
2 showers. You know, how much water it took to wash the soap
3 of your body was basically a fixed number and you could
4 either have that amount of water delivered slowly over a
5 long period of time or quickly over a short period of time.
6 There was some pretty good existing data from several very
7 in depth and, you know, peer-reviewed good published studies
8 that showed that there was a slight tradeoff. You can see
9 in the graph here, there was a little bit of a variation of
10 shower volume with flow rate. But the ultimate effect was
11 that when you reduce the shower flow rate the shower volume
12 also drops. So we're getting energy savings that are pretty
13 much in line with the reduction in flow rate.

14 These are the numbers for those of you who are
15 really concerned with the numbers and have a feel for what
16 they mean. We looked at four different studies that had
17 taken place over a number of years, which were field studies
18 of showerhead retrofits. So people had gone in and put in
19 1.8 or 2 GPM showerheads as a retrofit for 2.5 or 3.5 GPM
20 showerheads. And they found that there were consistent
21 savings.

22 The other main issue, apart from would this thing
23 save any energy, was how would people feel about it? Would
24 people say, Well, this tiny pathetic little dribble isn't
25 really any good and I'm going to go and unscrew it and fit

1 in the highest flow rate showerhead I can find. There are
2 two field studies and one lab study that directly address
3 this. The two field studies were pretty large retrofit
4 studies that were direct replacement studies. They went in
5 and replaced people's existing showerheads with a new
6 showerhead. The results of those studies were essentially
7 that there were almost no user complaints. We contacted the
8 authors directly to confirm that and it was true, the
9 studies had asked about user acceptance and the acceptance
10 was very high. There was also a lab study conducted by
11 Robert Morris and Associates, that was a PIER-funded study.
12 And I will talk about those results in a second.

13 So, as I said, the field studies both found high
14 acceptance, 69 percent very satisfied, 23 percent somewhat
15 satisfied and a few people who were not satisfied. In terms
16 of a program dropout rate that's pretty good compared with
17 other energy efficiency programs. The Robert Morris lab
18 study was a very extensive, thoroughly designed research
19 study in which multiple subjects were given multiple
20 different showerheads at different flow rates. And he did
21 find that there was a - I think I've got a graph of it here,
22 yeah - he did find that as the flow rate increased the
23 overall satisfaction increased.

24 This graph is a little bit counterintuitive because
25 lower is better. So as the flow rate increases you can see

1 the overall satisfaction trends toward the 1 end, which was
2 the high satisfaction end. It's a pretty low correlation.
3 So, as you can see, the little dots are spread out around
4 the graph pretty widely. So R-squared is the standard way
5 of quantifying the correlation between two variables in a
6 scientific study. This R-squared of 18 percent shows that
7 there is connection but the connection is pretty weak. And
8 what Morris concluded from the study was that there were a
9 lot of other factors that affected peoples satisfaction with
10 showerheads apart from the flow rate. The flow rate was a
11 factor but it was a weak factor and there were lots of other
12 factors that were more important. So his conclusion was
13 it's possible to design showerheads that have a very high
14 user acceptance at 2 GPM but it just requires a little bit
15 more effort on the part of the manufacturers.

16 Now, we looked for our part of the study at the
17 pricing and availability of showerheads. We surveyed the
18 complete product range of 22 manufacturers, which between
19 them account for almost the entire market. That was a total
20 of 160 models. And the average flow rate of those
21 showerheads is 2.2 GPM. So on average they are very close
22 to the existing federal max of 2.5 GPM. What we found is
23 that the purchase price was not dependent on flow rate at
24 all. So there were some very cheap showerheads at 2.5 GPM,
25 there were some very expensive showerheads at 2.5 GPM. So

1 there was a very high variation in price at that 2.5 GPM
2 flow rate but at the lower flow rates they tended to be
3 lower cost showerheads. There weren't any very expensive
4 showerheads at very low flow rates.

5 So what we concluded from that is that there is no
6 added cost for this measure at all. If anything, we could
7 actually prove that the cost was less. So the whole issue
8 of cost effectiveness with this measure is not relevant.
9 So here you can see the average purchase price as related to
10 flow rate. Really what lays behind this data is that that
11 tall bar on the right-hand side means there are a few very
12 expensive gold-plated 2.5 GPM showerheads which bring the
13 average price up.

14 Another question we wanted to answer was how
15 prevalent of an issue is the multi-head shower issue, how
16 many multi-head showers are out there, how many people have
17 showers installed that are 5 GPM or 8 GPM. There was a
18 study by Seattle Public Utilities in 2006 and they found
19 that 15 percent of the people they surveyed in that year had
20 showers with more than one head and of those people the
21 average number of shower nozzles was 2.6, which equated to a
22 6.5 GPM average flow rate. So these showers are using 2.6
23 times as much energy as regular showers. I think we dropped
24 off the end of the slide here. But the other study on this
25 was by Biermayer of LB&L and he found by looking at

1 manufacturer's flow rates he found the average flow rate of
2 a multi-head shower is 5.5 GPM. So those two studies agree
3 pretty closely.

4 Prevalence, we didn't find any data on exactly how
5 many multi-head showers are out there but we found good
6 evidence that it's increasing. So therefore because it's
7 increasing it's found its way onto various kinds of
8 commercial market assessment studies and we think therefore
9 that it's worth the Commission regulating this thing because
10 it seems to be becoming more common over time.

11 So here again are the numbers. I mean, obviously
12 moving to a lower flow rate shower does save a lot of energy
13 and water. So this is what these numbers show.

14 So the proposed language is here. Section 101, we
15 are proposing a definition of the word showerhead. Now this
16 is redundant with the current federal interpretation of the
17 federal standard. So this is saying more or less the same
18 thing the federal standard says. But we wanted to make sure
19 this was in Title 24, just in case the federal
20 interpretation changes, which we obviously hope it doesn't
21 but there is always a chance that it will. So this simply
22 means that a showerhead - you can't weld four showerheads
23 together and call it a showerhead. Four showerheads welded
24 together is four showerheads and not one.

25 And the proposed language for Section 113 is that a

1 showerhead must be installed. So when the inspector looks
2 around the house there must actually be a showerhead on each
3 pipe, you can't just leave the pipes headless and let people
4 install their own showerheads. And the showerheads that are
5 installed must have a 2.0 GPM limit. We've put an exception
6 in there for showers that recirculate hot water from the
7 drain to the showerhead. Now, there are not very many of
8 those unless you go to Australia where they have quite a few
9 showers that do this but they are not very common here, at
10 least yet.

11 Oh, I think I'm missing a slide there. We had
12 another - oh, no, we're not missing a slide. Sorry. That
13 language is all that we are proposing. So questions? Thank
14 you.

15 MR. RAYMER: Yes, Bob Raymer with CBIA. A couple.
16 I just would like to bring to your attention that HCD's
17 adoption of Part 11 includes provisions for multi-showerhead
18 fixtures. And they're also proposing to modify that
19 language in the 2010 interim update that is actually coming
20 to a conclusion right now. At the July Building Standards
21 Commission hearing HCD is seeking adoption of the following
22 language - this is their modified multi-showerhead language,
23 Section 4.303.2 of Part 11: Multiple showerheads serving
24 one shower - When a shower is served by more than one
25 showerhead the combined flow rate of all those showerheads

1 controlled by a single valve shall not exceed the maximum
2 flow rates at 20 percent reduction -in the particular column
3 that they've got, or table that they have - or the shower
4 shall be designed to only allow one showerhead to be in
5 operation at a time. And they they've got the exception,
6 the maximum flow rate for showerheads when using the
7 performance method specified is 2.5 GPM at 80 psi.

8 So what you're proposing, this would take effect in
9 2014. But it is in contrast, it is in conflict with what
10 HCD has adopted for the Green Building Code in Part 11 of
11 Title 24. So that's going to have to be kind of worked out.
12 I understand that maybe these things are becoming more
13 popular but then again I think we built 11 homes last year.
14 So, you know, there can't be too many of them out there.

15 My other point involves the exception. Am I to
16 understand that the exception here - take me for example.
17 I'm taking a shower, the shower is hitting me, going into
18 the drain and that water gets recirculated and I get hit in
19 the head with it again?

20 MR. HOWLETT: Yes, that's right.

21 MR. RAYMER: And I would try to market that to the
22 public?

23 (Laughter.)

24 MR. SHIRAKH: Hopefully you didn't have too much
25 beer the night before.

1 MR. RAYMER: You know, particularly after a long day
2 of fishing and drinking beer. Just a thought.

3 MR. SHIRAKH: I don't know if we need that
4 exception.

5 MR. HOWLETT: We included that because we had
6 actually found these things on a market survey and some
7 people apparently enjoy, you know, showering in their own
8 juices. So that's up to them.

9 MR. SHIRAKH: Owen, I think there are some
10 exceptions we can do without. So I guess the main comment
11 is that our requirement is in conflict with the Green
12 Building Code, so I'm not sure how we're going to - do you
13 have any opinion about that?

14 MR. RAYMER: I think the key point here is the
15 existing standards and the proposed standards that are being
16 adopted at the July hearing this year. Those standards will
17 take effect in July of 2012 so it's not like what you're
18 proposing is creating necessarily a conflict with what HCD
19 will have in 2014. But I would strongly encourage you to
20 work with HCD to make sure that as you go forward with your
21 set of standards and their update of the 2013 standards that
22 will take effect in 2014 that you work this out.

23 MR. SHIRAKH: Okay.

24 MR. HOWLETT: Well, that seems like a question for
25 the Commission really in terms of like where the language

1 should live. We spoke about this a couple of weeks back and
2 because showers use so much energy and comparatively a small
3 amount of water the rationale was that this requirement
4 should really be in Part 6 rather than Part 11. But that's
5 beyond my particular company's control.

6 MR. SHIRAKH: Okay. George?

7 MR. NESBITT: George Nesbitt. Now the federal rules
8 have clarified that you can only have one showerhead, one
9 manufactured showerhead per valve. So wouldn't that preempt
10 California's Green Code?

11 MR. HOWLETT: It's not a preemption. It's just an
12 agreement. It's just the same requirement.

13 MR. NESBITT: Right. And -

14 MR. HOWLETT: A preemption is exceeding the federal
15 requirement. All we're doing is we're echoing it, we're
16 replicating it.

17 MR. NESBITT: I'm saying - yeah, I mean wouldn't the
18 federal code sort of make the California Green Code non-
19 compliant?

20 MR. HOWLETT: Well, that's what we're -

21 MR. RAYMER: I'm sorry, the key point here is it's
22 illegal. Building Standards Commission has to pass
23 everything on a nine point criteria. One of those criteria,
24 I believe it is criteria number one, says the code cannot
25 conflict with another building standard that the state

1 adopts. And so it's an important thing and that's one of
2 the key functions of the Commission, to make sure what HCD,
3 the State Fire Marshal work together and what the Energy
4 Commission and HCD work together. So they can't adopt -

5 MR. NESBITT: But I thought federal regulations took
6 precedent. So anyway, I guess is it okay to have two heads
7 as long as they don't operate at the same time?

8 MR. HOWLETT: Correct, yes.

9 MR. NESBITT: Okay, so that -

10 MR. SHIRAKH: They have to have separate valves.
11 You can use them both at the same time you just -

12 MR. NESBITT: Right.

13 MR. SHIRAKH: You can't turn on one valve -

14 MR. NESBITT: And have two heads come on.

15 MR. SHIRAKH: -- and have five heads come on.

16 MR. NESBITT: Right.

17 MR. SHIRAKH: You can have five heads with five
18 valves.

19 MR. NESBITT: Right. Could you have one valve with
20 multiple heads but they can't operate at the same time?

21 MR. HOWLETT: Yes.

22 MR. NESBITT: And is that reflected in our language?

23 MR. HOWLETT: I hope it is.

24 MR. NESBITT: Or by - because what I'm thinking of
25 is, like, my parents' house where we, you know, replumbed

1 the shower and we also have a hand-held showerhead as well
2 as a fixed head with a diverter at the moment. Actually,
3 pretty much you have to - it can only operate on one or the
4 other. So I think -

5 MR. HOWLETT: Because of the federal ruling it means
6 that any showers that function in that way from mid-2012 -
7 I'm not sure of the exact date - but any showers that
8 function in that way have to have a diverter that does not
9 allow both heads to function at one time.

10 MR. SHIRAKH: You still have one head that comes out
11 of the wall.

12 MR. NESBITT: Yes, you have one head operated by one
13 valve but then you can only use one head at a time. Yeah, I
14 think definitely having a single head operated by a single
15 valve certainly is hopefully a discouragement to the big
16 project I did last year. The architect had to apologize to
17 me that the client chose body sprays. I'm not sure how many
18 valves they have.

19 MR. HOWLETT: What we need is to be careful not to
20 outlaw, you know, locker rooms. Because we couldn't write a
21 requirement that says you can't have multiple showers in a
22 room because then nobody could have locker rooms. So this
23 is a way around that.

24 MR. NESBITT: Well, what they do in the locker room
25 is they go and turn all the shower valves on and then leave.

1 But, you know.

2 MR. SHIRAKH: Okay, well it's ten after four. I
3 would like to kind of wrap it up. Mike?

4 MR. HODGSON: I just think so we're clear, the
5 CALGreen code as it's being proposed says you can have
6 multiple showerheads on the single valve but only one
7 showerhead can operate at one time, which is consistent with
8 the federal standard.

9 MR. SHIRAKH: Okay.

10 MR. HOWLETT: Yes, we didn't actually see the
11 proposed Part 11 language. So we will review that and just
12 make sure in detail that it's all in agreement.

13 MR. SHIRAKH: Okay, thank you. Any other comments
14 on showerheads?

15 (No response.)

16 Anything on - as long as we don't recirculate I
17 think we're okay.

18 MR. WARE: Yes, a message from Tom Trimberger at
19 Bureau Veritas. He is also a little concerned with the
20 reducing in sizing of piping. He says, In my experience as
21 development occurred water districts had trouble maintaining
22 pressure. As water pressures reduced complaints increased.

23 MR. HOWLETT: So just to clarify, we were thinking
24 of proposing a reduced pipe diameter as a requirement but we
25 dropped that and we agreed that the language that Marc put

1 forward earlier today was what we were all agreed on.

2 MR. SHIRAKH: So they can run 3/4 inch.

3 MR. HOWLETT: They can run 3/4 inch as long as it's
4 insulated.

5 MR. SHIRAKH: As long as insulated.

6 MR. HOWLETT: And they can run one inch for 10 feet.

7 MR. SHIRAKH: Any other comments in the house on
8 anything that was presented today all day?

9 (No response.)

10 Anything online?

11 (No response.)

12 MR. RAYMER: I have a question in general.

13 MR. SHIRAKH: Sure.

14 MR. RAYMER: Given that we are - Bob Raymer, CBIA -
15 given that we are not having the meeting on the 14th and
16 that is being moved back - and by the way, I talked with a
17 few, we're good with particularly Friday, July 15th, I'm
18 good for July 12th. But it would be very helpful to get a
19 few of the packages as early as possible, not all 16. But
20 we would be especially interested in getting our hands on 10
21 and 12, Climate Zones 10 and 12.

22 MR. SHIRAKH: Yes. And actually I know that Wilcox
23 is working fast and furious and we will probably have some
24 data to you ahead of that.

25 MR. RAYMER: Okay. Bruce doesn't mind working

1 harder so I would support that. Thank you.

2 MR. SHIRAKH: We are going to be back here tomorrow
3 again at ten o'clock. It's going to be mostly envelope
4 measures, mostly nonres, there is one residential issue.
5 Hodgson will probably be interested. I think it's like one
6 o'clock, right after lunch, it has to do with cool roofs and
7 roof deck insulation. And then the next workshop is going
8 to be on the 21st, those would be the ACM Manual
9 modifications.

10 So, thank you, everyone. And we will see you
11 tomorrow morning.

12 (Adjourned at 4:13 p.m.)

13

14

15

16

17

18

19

20

21

22


23

24

25

CERTIFICATE

I certify that the foregoing is a correct transcript from the electronic sound recording of the proceedings in the above-entitled matter.



Michael F. Connolly, CER
Reporter/Transcriber

6/23/11
Date