

DOCKETED

Docket Number:	18-IEPR-03
Project Title:	Southern California Energy Reliability
TN #:	223640
Document Title:	Transcript of May 8, 2018 Joint Agency Workshop on Energy Reliability in Southern California
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	6/1/2018 11:41:37 AM
Docketed Date:	6/1/2018

PUBLIC MEETING

on the

2018 Integrated Energy Policy Report (IEPR) Update

Joint Agency Workshop

on Energy Reliability in Southern California

held at the

South Coast Air Quality Management District
Auditorium
21865 Copley Drive
Diamond Bar, California 91765

Tuesday, May 8, 2018

Reported by:
Marlee Nelson

California Reporting, LLC
(510) 313-0610

APPEARANCES

State and Local Agency Workshop Leaders

Chair Robert B. Weisenmiller, California Energy Commission
Commissioner Andrew McAllister, California Energy Commission
Commissioner Liane M. Randolph, California Public Utilities
Commission
Commissioner Clifford Rechtschaffen, California Public Utilities
Commission
Mark Rothleder, California Independent System Operator
Reiko Kerr, Los Angeles Department of Water and Power
Alan Walker, Division of Oil, Gas & Geothermal Resources
Laki Tisopulos, South Coast Air Quality Management District

Also present

Heather Raitt, Integrated Energy Policy Report Program Manager
Drew Bohan, Executive Director, California Energy Commission
Neil Millar, California Independent System Operator
Garry Chinn, Southern California Edison
John Jontry, San Diego Gas & Electric
John Zoida, Southern California Edison
David H. Thai, San Diego Gas & Electric
Jason Rondou, Los Angeles Department of Water & Power
Edward Randolph, California Public Utilities Commission
Dennis Peters, California Independent System Operator
Chris Lynn, Los Angeles Department of Power & Water
Catherine Elder, Aspen Environmental Group
Rodger Schwecke, Southern California Gas Company
Dan Rendler, Southern California Gas Company

Public Commenters

Issam Najm, Porter Ranch Neighborhood Council
Jane Long, California Council on Science and Technology
Dave Weber, Gill Ranch Storage, LLC
Janet Fowler, Grenada Hills resident
Dave Ashuckian, California Energy Commission
Joe Crecco, Middle River Power
Andrew Krowne

I N D E X

Proceedings	Page
Items	
1. Welcome and Introductions:	4
2. Panel 1: Update on Reliability Issues Associated with San Onofre Nuclear Generating Station Closure and Phase-Out of Once Through Cooling:	78
3. Panel 2: Update on Reliability Issues Associated with the Aliso Canyon Natural Gas Storage Facility:	51
4. Panel 3: Update from Southern California Gas Company on Aliso Canyon and on Demand Response and New Gas Hookups:	136
5. Panel 4: Discussion and Presentations:	170
4. Public Comment:	195
5. Adjournment	207
Reporter's Certificate	196
Transcriber's Certificate	197

1 P R O C E E D I N G S

2 MAY 8, 2018

10:01 A.m.

3 MS. RAITT: Welcome to today's Joint Agency Workshop on
4 Energy Reliability in Southern California, taking place in the South
5 Coast Air Quality Management District Office Auditorium in Diamond
6 Bar.

7 I'm Heather Raitt, the Program Manager for the IEPR, and
8 I will quickly go over some housekeeping items. Restrooms are down
9 the hallway across from the auditorium entrance. And please go ahead
10 and silence your phones.

11 Also, if there is an emergency, we can either do a
12 shelter-in-place or evacuate the building. And if we need to
13 evacuate the building, please just go out through the back auditorium
14 doors. And if it's a shelter-in-place, such as in the event of an
15 earthquake, please drop and cover your head and hold onto the chair.

16 We do have a very full agenda so I would like to remind
17 our presenters to stay within your allotted times. Copies of the
18 presentations and the workshop materials are at the tables at the
19 entrance to this building and they have all been posted on our Energy
20 Commission's website. And if you haven't already, please do sign
21 in on the sign-in sheet at the front tables.

22 We will have an opportunity for public comment at the end
23 of the day. For those who are in the auditorium, if you could fill
24 out a blue card at the tables. We have our Public Advisor there and
25 she can help you with that, and we'll take comments at the end of

1 the day. And we'll just have people come to the center podium.

2 For our WebEx participants -- oh, I should have mentioned
3 that we are being broadcast over our WebEx Conferencing system, so
4 we are being recorded. And we also will have a written transcript
5 available. The audio recording will be available in about a week
6 and the written transcript in about a month. And for folks on WebEx,
7 you can just raise your hand to tell our WebEx Coordinator that you'd
8 like to make a comment at the end of the day. And at the end we'll
9 also open up the phone lines for folks who have phoned in. And we
10 will limit comments to three minutes per person.

11 We also welcome written comments and those are due on May
12 22nd, and the notice gives all the information on how to submit
13 written comments.

14 And so with that I will turn it over to our Commissioners.
15 Thank you.

16 CEC CHAIR WEISENMILLER: Good morning. I'm Chair
17 Weisenmiller. I'm Chair of the California Energy Commission.
18 Welcome to today's IEPR event. This is a joint event. I'm going
19 to take a minute to let everyone introduce themselves after I give
20 a few comments. Also Commissioner Randolph will provide a few, but
21 anyway.

22 As you can tell from today's notice, we're focused on
23 reliability today, and reliability both of the power and the gas
24 system. Obviously, the gas system fuels the power system, so these
25 are interrelated issues. It started a long time ago when San Onofre

1 went out and we were trying to figure out how to maintain reliability
2 in Southern California. I think we're almost at the end of that phase
3 of our focus, although again I think last year we were a little
4 surprised to discover there had been some bumps in the road, so it's
5 good to see where we stand on that. And at the same time certainly
6 we had a historic leak at Aliso Canyon. That's going through a series
7 of questions to work through what that means or how to work around
8 that.

9 And, as we talk today, obviously the gas system is a
10 combination of pipelines and storage, and there's been more concerns
11 lately on the pipeline side of stuff.

12 Ms. Randolph.

13 CPUC COMMISSIONER RANDOLPH: Thank you, Chairman
14 Weisenmiller.

15 I just want to thank staff for pulling this discussion
16 together. This is an important topic. The technical assessment for
17 summer reliability indicates that we are going to be having some
18 reliability challenges that we're going to really need to take
19 seriously and manage carefully. And, to that end, I am interested
20 in hearing from staff, you know the details about the assessment and
21 the potential issues that we have.

22 We have implemented a lot of mitigation measures that have
23 been very effective. I am a little concerned we have already grabbed
24 all the low-hanging fruit and the other mitigation measures are going
25 to be somewhat challenging. So I'm going to want to hear from the

1 utility about their outages and how those are affecting the system
2 and how those can be managed.

3 And then, lastly and most importantly, I want to make sure
4 we all understand that this is a discussion about the short term,
5 the here and now. The longer-term discussion about the viability
6 of Aliso Canyon is something that will happen in another setting,
7 but right now we need to be focused on what steps we need to take
8 to ensure reliability in the summer and to make sure we're examining
9 what effects those steps have on winter reliability, because we can't
10 lose sight of that. So I look forward to a fruitful discussion today.
11 Thank you.

12 CEC CHAIR WEISENMILLER: Great. Why don't we go through
13 the podium, and introduce yourself.

14 MR. TISOPULOS: Laki Tisopulos, Deputy Executive Officer
15 with the South Coast Air Quality Management District.

16 MR. ROTHLEDER: Mark Rothleder, Vice President, Market
17 Quality Renewable Integration, at California Independent System
18 Operator.

19 CEC COMMISSIONER MCALLISTER: Andrew McAllister,
20 Commissioner at the California Energy Commission.

21 MS. KERR: Reiko Kerr, Senior Assistant General Manager
22 of the Power System at Los Angeles Department of Water and Power.

23 MR. WALKER: I'm Alan Walker, Supervising Petroleum
24 Engineer at the Division of Oil and Gas in Sacramento.

25 CEC CHAIR WEISENMILLER: And we also have Commissioner

1 Rechtschaffen from the PUC who will be joining us a little late. So
2 we have a pretty full dais representing all the various agencies and
3 certainly appreciate everyone's involvement.

4 Let's start with staff presentation.

5 MR. BOHAN: Great. Good morning. My name is Drew Bohan.
6 I am the Executive Director of the California Energy Commission. And
7 this panel, I'll let my colleagues introduce themselves, but this
8 panel is going to touch on a number of issues associated with
9 reliability in Southern California as a consequence of the San Onofre
10 Nuclear Generating Station going offline and our once-through
11 cooling phase-outs.

12 You will hear from the folks that are listed on your agenda.
13 I will start with a brief overview and really I think a good news
14 piece, a success story, with regards to once-through cooling.

15 So as you all at the dais know, once-through cooling is
16 the process whereby coastal powerplants intake ocean water and they
17 use that to cool the turbines. And this has been a process that has
18 been going on for quite some time, but it does cause significant harm
19 to marine life. As a result, in 2010, the State Water Resources
20 Control Board adopted a policy to phase out once-through cooling at
21 all the coastal plants in California. And, in doing so, they also
22 created an advisory body called the SACCWIS, which is a long acronym
23 that stands for the State Advisory Committee on Cooling Water Intake
24 Structures. If you look up on the screen, those are the state
25 agencies that make up the SACCWIS and provide advice to the State

1 Water Board. And what we look at and what we have been looking at
2 over the years is potential threats to reliability as a consequence
3 of these coastal power plants going offline.

4 SACCWIS does a report every year about this time to the
5 State Water Board. And what I'm going to do is give you a little
6 bit of an overview of the report that was provided very recently last
7 month to them. So I'll work the slides here. Great.

8 So the report was completed on March 5th and adopted by
9 the SACCWIS this year and it was presented on April 17th to the State
10 Water Board. The report's main conclusion was that we don't need
11 to make any policy changes. The power plants that we've got that
12 have come off are no longer using once-through cooling, and I want
13 to go through each of those very briefly, and there doesn't need to
14 be a change to the compliance schedule for those plants that are still
15 operating but that have dates of retirement from once-through cooling
16 in the future.

17 The agencies are all continuing to work together to keep
18 a close eye on this. And you're going to hear a little later from
19 Mr. Millar from the ISO who is going to talk about an upcoming change
20 that we may need to make to that. But as of April and as of our report,
21 things are looking very good.

22 I'm not going to through each of these, but this shows you
23 the really very large number of power plants and units that have been
24 retired since 2010. And, again I don't want to go through all of
25 them, but if you just take a look, they have all met the retirement

1 date. And a couple of them, and if you scroll down to Huntington
2 Beach, for example, about the fourth one down there, its compliance
3 date was December 31st of 2020 and in fact they retired units 3 and
4 4 in 2012, eight years ahead of schedule.

5 The big one that took place and that is a focus of the other
6 parts of this conversation on this panel was the San Onofre outage
7 which took place in -- it was unplanned -- but in 2013. It was set
8 to retire in 2022, so that one also happened well ahead of time.

9 The next slide I'm going to show you is those plants that
10 are still using once-through cooling, and what the plants are. There
11 again, I'm not going to through each of these, but if you look at
12 the compliance dates in the middle, we are on track to meet all of
13 those compliance dates. So we should see the retirements happening
14 naturally and we don't see any system issues being caused by these
15 retirements. Again, I think Neil is going to point out maybe one
16 footnote to that but, for the most part, things are going along really
17 well.

18 What does this all mean in terms of reduced water? This
19 was the whole point of the exercise in the first place, was to reduce
20 the amount of water that was brought in, reduce the impingement of
21 marine animals that get caught in the intake structures and the small
22 ones that pass through but then through the heat process die off,
23 and I think the results are pretty impressive.

24 The blue line at the top is the design flow rates for the
25 suite of power plants that I just showed on the prior two slides.

1 The green line shows those design flow rates but reflecting the
2 actions of the power plant operators to reduce ahead of schedule those
3 power plants that were either no longer needed or otherwise could
4 be retired. And then the red line is really the most important one
5 and it shows that the actual flows, the actual intake of seawater
6 is significantly down and trending downward and should phase out by
7 the end of the compliance period for the last of the generators. The
8 reason that line is so much lower is because the annual capacity
9 factors at most or all of these plants is significantly lower than
10 the design rating, so you would expect that the actual water
11 consumption would correspondingly be less.

12 So the reason we have been successful is attributable to
13 a number of factors and we cite three here. We have increased our
14 contracts for preferred resources to reduce demand. This includes
15 energy efficiency, demand response, DG and energy storage. We have
16 had some upgrades to our transmission infrastructure particularly
17 in the LA Basin that has really helped the situation. And, finally,
18 we have had some repowers where we are still relying on some
19 conventional generation to meet the needs of the various places where
20 these plants are located.

21 So, in conclusion, again we don't see any need to change
22 any of the compliance dates going forward. The operators are all
23 moving to either retire or repower or otherwise take action to get
24 off of once-through cooling. Again you'll hear from Neil about one
25 possible change to that. And we will continue to take a look at this

1 closely. And the SACCWIS is going to be around until this process
2 is completed, in the next decade, and all the plants are no longer
3 using once-through cooling. Thank you.

4 MR. MILLAR: Thank you. I'm Neil Millar with the
5 California ISO and I'm pleased to take the opportunity to walk you
6 through our current reliability results for Southern California
7 overall from a transmission perspective.

8 The first thing I will do is -- the first thing I will do
9 is get to the right slide. Thank you.

10 The first thing I'd like to do is just to reset somewhat.
11 As Chairman Weisenmiller indicated, we are on the trajectory that
12 was established several years ago, both to address the needs of
13 once-through cooling generation retirement in the San Diego and Los
14 Angeles area as well as to accommodate the loss of the San Onofre
15 Nuclear Generating Station. As we've gone through the several
16 years, obviously certain projects, we have had some generation retire
17 earlier than planned, others later, also of course the transmission
18 reinforcements have also had to be tracked as we go through. So there
19 have been some minor updates and I'd just like to touch on some of
20 those.

21 But first I'd just like to remind people that the
22 fundamental issues we were dealing with here was that with the loss
23 of San Onofre, fairly critically located between the San Diego and
24 the Los Angeles Basins, that created the opportunity for both
25 thermal-loading problems as well as voltage-stability problems.

1 San Onofre had really been the anchor both for a source of power and
2 reactive current supporting the voltages in the area. So it really
3 was a critically located plant, so it did have quite an effect on
4 our need for transmission planning, which had already been moving
5 forward to address local capacity needs with the retirement of the
6 once-through cooling, but this was an additional challenge.

7 Now this graph is fairly busy but it does provide the detail
8 and overview really that overall, even with the retirement of San
9 Onofre we're planning around a major reduction of the gas-fired
10 generation fleet in the LA and San Diego areas. We have listed all
11 of the different units retiring here as well as the new additions
12 that are either -- have already come online or are in the process
13 of being developed. But at the end of the day less than half of the
14 generation that's retiring is being replaced with gas-fired
15 generation and there is a significant reliance on preferred resources
16 both embedded in the energy forecasts we received from the Energy
17 Commission as well as additional procurement of preferred resources
18 outside of the forecast.

19 So the mitigations that are under way are trying to focus
20 both on the voltage-control problems as well as the thermal-loading
21 problems into the area. If we could move to the next slide, please.
22 I'll give up on this.

23 The mitigations addressed a number of issues and included,
24 as I mentioned, a combination of preferred resources and conventional
25 transmission. Some delays have been encountered that have caused

1 for slight shifts in plans. The Carlsbad Energy Center, which was
2 originally expected to be online for the summer of 2018, was delayed
3 due to prior legal challenges. The new online date is Q4 2018. What
4 we did to accommodate that was that in the compliance date for OTC
5 compliance for Encina units were deferred until December 31st to
6 maintain reliability through the summer, so there was a delay but
7 it was managed and being accommodated.

8 The Mesa Loop-In Project is a major issue for us that we're
9 continuing to track. The original intention was to have that online
10 as well for -- to address summer of 2021. The schedule there does
11 look like the in-service will be pushed into early 2022, but I'll
12 leave that to our friends from Southern California Edison to talk
13 about in more detail.

14 That does create the possibility of the need to defer the
15 OTC compliance of either Alamitos or, in the worst case, Redondo Beach
16 Generation. We believe that relying on Alamitos is now possible,
17 whereas last year there were concerns around whether or not Alamitos
18 was a viable option to be extended. But that's a situation that is
19 still too early to tell but that we will have to continue to track.

20 The Sycamore-Penasquitos Transmission Project has also
21 experienced a slight delay. It was targeted for the 1st of June,
22 to be covering the full summer season of 2018. It does look like
23 that date now has been pushed to the end of June, which does create
24 some reliability risk that operating procedures will have to be put
25 in place to manage through the month, and we are hoping that that

1 project doesn't experience any further delays. Next slide, please.

2 One of the reasons we mentioned that the -- about different
3 changes through the time is that when we're looking at particularly
4 the potential mitigations for a delay of the Mesa Loop-In Project,
5 one issue we are concerned with and need to consider is that the energy
6 forecast or the demand forecast for the Southern California Edison
7 overall and the LA Basin, in particular, has jumped again from last
8 year's projection to our projection for this summer and for next year.
9 So we are looking at for 2019 having to consider potentially higher
10 loading levels going into the later years than we were projecting
11 last year.

12 So this graph indicates roughly an increase of about 1200
13 megawatt peak demand forecast increase for the 1-in-10 scenario for
14 the Southern California footprint from the 2017 IEPR used providing
15 results that we use in 2019 local capacity requirements, compared
16 to the value we used the last year in setting the 2018 local capacity
17 requirements.

18 So the increased load level does have to be taken into
19 account when we're assessing some of these alternative mitigations.
20 So we will be following both the load forecast as well as working
21 with Southern California Edison on trying to avoid an OTC extension
22 if at all possible. Next slide, please.

23 One other issue that we're having to keep our eye on is
24 that with the increased development behind the meter solar
25 generation, the effective load carrying capability of the

1 grid-connected solar and the qualifying capacity benefit of
2 grid-connected solar has been dropping somewhat, especially in the
3 San Diego-Imperial Valley combined area. Each year we're basically
4 using the qualifying capacity that was determined through the
5 previous year's work. So to some extent as the peaks continue to
6 shift to later in the day, reflecting the impact of the
7 behind-the-meter generation, we're always a bit, one year, behind
8 in terms of how we're considering the capacity benefit of the
9 grid-connected solar when we're doing our analysis. Next slide,
10 please.

11 So just looking at the energy profiles and the demand
12 profiles provided by the California Energy Commission, we are
13 expecting that trend to continue as well as a bit more into the future.
14 Where, in one year we're using qualifying capacity values that are
15 derived for the next year's forecast, but as we get closer the peak
16 shifts out a bit more and the qualifying capacity value is actually
17 a bit lower than originally estimated. So this is something else
18 we have to keep our eye on as we move forward. Next slide.

19 So overall we're continuing to work and coordinate both
20 with the utilities and the state agencies to monitor these impacts
21 and to make sure we keep the system reliable as we transition. We
22 are on track but there are issues that, like I said, that we need
23 to manage. Particular issues, again are the timing of the
24 Sycamore-Penasquitos Transmission Line, the timing of the Mesa
25 Loop-In Project, and assessing the impacts of the net load and

1 shifting peaks as we look especially in the San Diego-Imperial Valley
2 area, which is the one that relies more heavily on qualifying capacity
3 at present from grid-connected solar.

4 Now I did want to mention that we have not addressed in
5 this analysis any impacts of restrictions of Aliso Canyon
6 utilization. We're leaving that for the more detailed discussion.

7 CEC CHAIR WEISENMILLER: Thanks, Neil. A couple
8 questions. First I was just going to say in terms of summaries to
9 the last IEPR, we had had about 10,000 megawatts of power plants
10 retire, and looking at the forecast of the next whatever, again it
11 is about another 10,000. So that's statewide and not specifically
12 LA, but again we are having a major change in the fleet and in some
13 respects we are only halfway through those transitions in the
14 existing fleet.

15 You know I think at the same time the solar
16 behind-the-meter forecast is one of the more complicated pieces of
17 what we do. Historically, we were under forecasting. This time
18 there were some parties -- actually the solar industry was saying
19 we were probably over forecasting, but it certainly flattened out
20 this past year, particularly with Solar City's scale-back of its
21 operation, so it's been more -- instead of seeing major jumps in
22 behind-the-meter solar, it's been more flattening out.

23 Now with the standards, that's going to continue to shift
24 things. But I guess what I'm saying is we're certainly struggling
25 to try to catch up with what's going on behind the meter and what's

1 a pretty dynamic market that's, you know, not quite dealing with the
2 tariffs, the solar tariffs, the tax credit side, the NEM. It's a
3 whole bunch of parts of that stew which are going to really continue
4 to make that challenging.

5 I think on the transmission side it sounds like, you know,
6 again the Mesa Loop-In is probably the one and we need to spend a
7 lot of time with Edison to figure out what's going on there, as well
8 -- as the key project, is my take-away from your comments.

9 MR. MILLAR: Yes.

10 CEC CHAIR WEISENMILLER: I think just for the completeness
11 of the record, Reiko, could you talk about what LADWP is doing on
12 the once-through cooling, the study you're now conducting?

13 MS. KERR: Sure. So the Department is looking at a
14 comprehensive study on the entire basin that incorporates all our
15 future once-through cooling projects in the pipeline. And we're
16 looking at 135 different scenarios ranging from plan as usual, the
17 megawatt per megawatt, all the way down to zero megawatts and what
18 the replacement can be as long as we're addressing: Resource
19 adequacy; grid reliability; is it technically feasible within the
20 timeframe that we're looking at; transmission reliability,
21 simulating that on our system on an hour-by-hour basis; as well as
22 the operational ability, when we look at it sub-hourly, moment by
23 moment, second by second; and, finally, constructability, do we have
24 the ability to do that within the basin. And each of those scenarios,
25 it will start, if you will, the 135 scenarios in like a funnel, all

1 135 coming in, and as you pass through each screen, if you don't pass
2 one screen you won't make it to the next.

3 So the end result of all those studies, the feasibility
4 of which options are possible, will come out at the end in the scoring
5 matrix. We have a number of agency or entities that are helping us
6 with that study, independent experts. We have WorleyParsons,
7 Navigant, Energia, E3, as well as DNV GL (phonetics), so it's a
8 comprehensive study to assist DWP trying to figure out what that
9 future in basin generation looks like or a combination of preferred
10 resources, etc.

11 CEC CHAIR WEISENMILLER: When do you expect to reach a
12 conclusion on that?

13 MS. KERR: So we're in the study process. It's getting
14 close to being finalized. We expect by late summer we will have the
15 results and we will start the public communication and outreach and
16 start communicating the results of that study and informing our IRP.
17 And in addition to that we're also -- a separate study is looking
18 at what type of investments are necessary for LA to get to a hundred
19 percent renewables. So the results of the OTC study will flow into
20 that, but that's a longer study and will be 2020-ish.

21 CEC CHAIR WEISENMILLER: Okay. Well, hopefully you will
22 be able to file at least a first study, the OTC study with the --
23 into the IEPR at some stage, --

24 MS. KERR: Yes.

25 CEC CHAIR WEISENMILLER: -- and you can try to take that

1 into account in our planning.

2 MS. KERR: Yes.

3 CEC CHAIR WEISENMILLER: Thank you.

4 Anything else?

5 CEC COMMISSIONER MCALLISTER: Just a quick question on the
6 slide order you showed the first slide on peak shifts. It's got
7 basically a solar generation curve from a particular day, September
8 26, 2016. I'm wondering sort of why the discontinuity. Is that just
9 a -- like why did you choose that particular day? Looking at that
10 little bump in the afternoon, I'm wondering if that's a regular
11 occurrence or if it was just, you know, a partly cloudy day or
12 something.

13 MR. MILLAR: It's Neil here. As I recall, we actually
14 just picked this day as a representative one that was showing a
15 relatively high demand that day.

16 CEC COMMISSIONER MCALLISTER: Okay.

17 MR. MILLAR: And there wasn't any particular reason to
18 focus on that day --

19 CEC COMMISSIONER MCALLISTER: No.

20 MR. MILLAR: -- other than it was representative.

21 The bump, I believe, was -- actually I have to double check
22 that. I thought there was a slight cloud pattern that caused that.

23 CEC COMMISSIONER MCALLISTER: Yeah, that makes sense.

24 MR. MILLAR: I'd have to double check.

25 CEC COMMISSIONER MCALLISTER: Yeah. Thanks.

1 Appreciate that.

2 CEC CHAIR WEISENMILLER: So let's go onto the next
3 presentation. Edison.

4 MR. MILLAR: Actually I'm afraid you have to put up with
5 me for another presentation. We were asked to provide an update on
6 the Pacific Northwest studies we were doing. If you want that in
7 sequence or if you prefer to..

8 CEC CHAIR WEISENMILLER: Please go ahead now.

9 MR. MILLAR: Thank you. So the next slide, please.

10 So and just by way of background, each year in our
11 transmission-planning process the ISO does look to see if there is
12 any additional study work we should be taking on that's more
13 informational, that's not part of our tariff obligation, that doesn't
14 necessarily lead to or provide the basis for any transmission capital
15 approvals. And this here, responding to our past efforts, the Energy
16 Commission and the Public Utilities Commission made a joint request
17 for the ISO to consider, through a letter that was submitted to the
18 ISO on February 15, the request to undertake a special study or
19 informational study looking at potentially accessing some of the
20 additional Pacific Northwest hydro as a way to provide low carbon
21 energy into California and to assess what role that energy could play
22 in reducing the burden on the Aliso Canyon facility, more
23 specifically. Next slide, please.

24 So the study focus is really on four different areas.
25 First, looking at potential, more modest transfer capacity

1 improvements on the AC and DC interties into the Pacific Northwest.
2 Second, looking at or reporting on efforts regarding increasing the
3 dynamic transfer limit on the AC interties. Thirdly, looking at the
4 work Bonneville Power is doing on trying to automate additional
5 controls on their system, focused primarily on the Pacific DC
6 Intertie. And also working with primarily the Public Utilities
7 Commission looking at the resource adequacy value of firm non -- zero
8 carbon imports or transfers both on system as well as perhaps flexible
9 capacity needs. Next slide, please.

10 So the study plan work is still underway. We developed,
11 coordinating with the facility owners inside and outside of the ISO
12 footprint, we have developed a draft scope. We're looking at the
13 horizon, assumptions, methodologies, and scenarios that we would
14 include in the study work. The draft scope has been presented to
15 industry and we have received numerous comments. We are working
16 through those comments now and we're hoping to finalize the study
17 scope by mid next week. Next slide, please.

18 Just touching on the four areas in particular, the capacity
19 of the AC and DC Interties, there are a number of issues there that
20 need to be considered looking at the California-Oregon Intertie, in
21 particular; looking at how certain outages and our consideration
22 especially of certain N-2 or multiple contingency outages need to
23 be taken into account. We're also needing to review how we're seeing
24 congestion appear on the California-Oregon Intertie in our markets,
25 where we see at time some congestion showing up in day-ahead that

1 isn't materializing in real time. Part of that may be scheduling,
2 in which case scheduling solutions may be more appropriate. Some
3 of it could be congestion that's actually resolved in the day-ahead
4 market and therefore if the right units aren't committed in the first
5 place, then they don't show up and the congestion doesn't show up
6 in real time.

7 We are wanting to look both in the short-term as well as
8 touch on long-term benefits. In the short-term we're looking at more
9 modest increases of seeing if we could move the ratings up to 5100
10 megawatts on the AC from the current 4800. And also trying to get
11 a feel for what some of the long-term benefits could be, perhaps
12 briefly touching on some of the proposed more capital-intensive
13 solutions. There are some Greenfield projects, as stakeholders have
14 proposed in the past, that we would like to at least touch on, but
15 we're not expecting a thorough analysis in one pass. Next slide,
16 please.

17 Regarding the increased dynamic transfer capability
18 issue, that would provide additional value already in providing
19 additional access in inter-hour scheduling. The dynamic transfer
20 capability right now between -- with Bonneville Power is limited to
21 400 megawatts. There is operational work going on now to look at
22 raising that to 600 megawatts. We would see our initiative reporting
23 on the progress as well as trying to perform some assessment and
24 identify what requirements there might be to even go beyond that.
25 Next slide, please.

1 The work that BPA is doing on control automation on the
2 DC Intertie would be more limited in this scope to reporting on the
3 progress. This is an issue that would perhaps allow intra-hour
4 scheduling on the DC Intertie, which we would see also providing
5 value, with the question of what would it take and so forth, really
6 falls to BPA in our coordination with them. And next slide, please.

7 The last issue, as I mentioned, is to look at the issue
8 of resource adequacy value for imports, not just for system capacity
9 but also to see if there is a possibility of a flexible benefit
10 capacity benefit as well. And this is another issue that the ISO
11 sees needing to address as well; that our current deliverability
12 requirements for resources that qualify or resource adequacy right
13 now are really limited to our system capacity analysis; and the
14 question of whether resources providing flexible capacity truly need
15 to also be capable of providing system capacity is an issue we need
16 to come to terms with, and we see that being part of this discussion
17 as well. Next slide, please.

18 So, as I mentioned, the scope has already been presented
19 to stakeholders in draft form. We are looking at finalizing the
20 scope. Originally we were more optimistic that we would have it out
21 very early in May. Our stakeholders comments were quite extensive,
22 so it is taking more time to go through that work than we had
23 anticipated, but we are optimistic now that we'll have it out next
24 week.

25 We are looking at getting preliminary results out in

1 November to align with the ISO stakeholder -- annual stakeholder
2 consultation cycle for transmission planning, presenting final
3 results at the end of January and our draft transmission plan, and
4 walking stakeholders through that at our February 2019 stakeholder
5 session.

6 And of course our final transmission plan would include
7 the documentation of this work in March of 2019. Now stakeholders
8 have raised the possibility that there might need to be some
9 additional intermediate consultation and we're certainly open to
10 looking at that as we go through the analysis.

11 So thank you. I will stop, if there are any questions.

12 CEC CHAIR WEISENMILLER: I just wanted to reiterate the
13 priority that President Picker and I place on this. I think we'll
14 hear later today about the CCST study which talked about generally
15 an alternative to Aliso might be more transmission. Well, we're
16 trying to get very specific in terms of, well, what is -- what
17 transmission are we talking about and certainly what are the
18 characteristics. And certainly this is -- a lot of interest in the
19 Northwest in this, a lot of interest I think in California, so trying
20 to pursue the specifics.

21 Certainly if we get to intra-hour scheduling on the DC,
22 that would be a game-changer, you know, certainly easier for us.
23 Dynamic scheduling would also help. And, you know, who knows, it's
24 probably time to look at whether we can upgrade the transmission
25 capacity a little bit. I don't think any of this -- although, again,

1 if you come back and say we need a whole new intertie, I'm sure all
2 of us would be fascinated by that conclusion, but I think we're
3 expecting more, you know some degree of incremental upgrades.

4 MR. MILLAR: Actually we appreciate the comments because
5 a number of stakeholder comments have been seeking to expand the scope
6 to broader issues that we think would cause us to lose focus on the
7 more specific issues you have asked of, so we're really having to
8 prioritize and keep our eye on the ball on this one.

9 CEC CHAIR WEISENMILLER: See, I think part of the question
10 is to the extent we have the IEPR, we have basically an evidentiary
11 proceeding at the PUC that this could fit into, and so it is important
12 to try to keep in mind of what the timing might be there.

13 Mark.

14 MR. ROTHLEDER: This is Mark Rothleder. I think it's
15 worth noting that this work is actually in support of, and actually
16 what we observed in the last four years, we introduced the real time
17 energy and balance market, and what we're finding is, is that we're
18 using more and more in real time the transfer capability in the
19 system. And I think that's especially important in Southern
20 California where we have about, at least in real time right now
21 through the energy balance market, about 2,000 megawatts of transfer
22 capability from the east getting accessed from the north. This
23 transfer capability on a more real time basis is going to be important
24 to help navigate and balance the system in Southern California, using
25 really clean resources from the Northwest.

1 MR. MILLAR: There is only one other point I forgot to
2 mention and that's despite I talked about this being -- taking place
3 in the ISO transmission planning process, we have been receiving
4 excellent support and cooperation from LADWP, so I just wanted to
5 mention that, that the staff have been extremely helpful.

6 CEC CHAIR WEISENMILLER: Yeah. Obviously Picker and I
7 sent a letter to the LADWP Board members, and they all seemed quite
8 enthusiastic at least that we should be exploring this opportunity.

9 MS. KERR: Absolutely. With the interconnectedness of
10 the grid, I think it was within all of our benefits to be involved
11 in the analysis and study.

12 CEC CHAIR WEISENMILLER: Thanks, Neil. Now I guess it's
13 Edison.

14 MR. CHINN: Good morning. My name is Garry Chinn, with
15 Southern California Edison. I'm here to provide an update on some
16 of our transmission projects in Southern California. Moving to the
17 next slide, okay.

18 These projects are grouped together by certain headings.
19 And this first grouping is what I call the load service. These two
20 projects are designed primarily to relieve two existing substations.
21 The first one is Alberhill. It is relieving the Valley Substation.
22 The second one is the Riverside Transmission Reliability Project,
23 which is relieving the Vista Substation.

24 So for Alberhill, the CPCN and application was filed back
25 in 2009, amended in 2010, and it was a proposed decision that just

1 came out last month to deny. And we just submitted comments in
2 response to that just last week. OD day is still scheduled for Q4
3 of 2021.

4 The next one is the Riverside Project. That one is to,
5 again, to relieve Vista Substation, also located in Riverside County.
6 The Supplemental EIR was filed recently. And the deadline to submit
7 comments is coming right up and the schedule for the next couple of
8 years is still far out, in 2019, to get the final decision. The OD
9 day for this project is further out in the Q2 about 2023. Next slide.

10 This next grouping of projects is related to delivering
11 renewables. The first one is the Eldorado-Lugo, Lugo-Mojave Series
12 Capacitor upgrades. It's scattered across a lot of counties. But
13 the ISO approved the first element, the Eldorado-Lugo Series
14 Capacitors back in the 2012-13 TPP. The Lugo-Mojave was approved
15 a year later, in the next planning cycle.

16 This one, also the PAs were recently submitted. Scheduled
17 start date for construction is now in 2019 with an OD of Q4 of 2021.
18 This project is primarily designed to deliver renewables or
19 generation in general from the Eldorado area.

20 The next project is West Devers. These are upgrading 230
21 kV transmission lines west of Devers Substation, located in Riverside
22 and San Bernardino Counties. The CPCN was issued back in 2016. The
23 BLM record decision came out in the same year, in 2016, and the
24 construction just began early this year. The OD for that is Q4 2021.

25 The next slide are projects related to the local capacity

1 requirements in Southern California. The first one is the Moorpark
2 area. There are two projects there. The first one is Santa Barbara
3 County, a reliability project. And the second one is the
4 Moorpark-Pardee 4th Line. The first project is actually not as
5 specific to LCR. It is to relieve a Goleta resiliency issue to
6 upgrade the 66 kV system to strengthen the ties between Goleta
7 Substation and Santa Clara Substation, to permit the -- the permit
8 to construct was issued for this project back in 2015, but we're still
9 waiting for the Coastal Development permits. Carpinteria has issued
10 one in 2017, but we're still waiting for the rest of Santa Barbara
11 County.

12 Construction began in October of '17 and schedule is Q2
13 of '19. Again, this project is not related to LCR, but the next one
14 is, the Moorpark-Pardee 4th Line was approved by the ISO just recently,
15 in the 17/18 TPP. It was approved as a reliability-driven project,
16 but it also had an economic aspect to it and that line reduced the
17 LCR need in the Moorpark area significantly, greater than 50 percent.
18 Detail engineering is underway right now, and we are yet to pick a
19 definitive construction start date, but the end date is clear. It's
20 Q4 of 2020.

21 The next section there is the Western LA Basin LCR. The
22 first project there is a synchronous condenser, the Santiago
23 Synchronous Condenser, at 225 megavars. Located in Orange County.
24 The ISO approved this several years back. Construction began August
25 of 2016 and it went online December of last year.

1 The next project is the Mesa 500 [sic] kV Substation
2 project, located in LA County. The permit construction issued
3 February of last year, construction began in the same year in October.
4 The OD date still remains in Q1 of 2022.

5 Right now we are doing I guess as well or better than
6 expected. The OD date of 2021 hasn't moved beyond that. That's for
7 sure. What has happened so far is some of the high-risk relocation
8 aspects of the project is complete or near complete. There is an
9 underground MDW water line that needs to be moved off the property.
10 That has been completed. We are currently moving the transmission
11 lines out of the way for the construction that is scheduled to be
12 completed by the end of this month. So by the end of this month we
13 would have basically the property be cleared for beginning the
14 construction of the new facilities.

15 At this point in time we can't really commit to anything
16 earlier than Q1 of 2022. The next, I guess, big construction piece
17 is building out the 220 kV, the 66 kV, and the 16 kV switch rack and
18 the connections. That would give us a better idea of whether we can
19 move up the date. The last piece of the construction is actually
20 the 500 kV piece and that piece is the piece we are looking to
21 accelerate and to back into 2021. But we will know that with more
22 certainty once we have completed construction of the other
23 facilities.

24 And the schedule for completing the less than 500 kV work
25 is actually around Q3 of 2019. So by May of next year we should know

1 a lot more about the progress of that piece.

2 And that's all I had. Any questions?

3 CEC CHAIR WEISENMILLER: Yes. It's amazing how long it
4 takes to do transmission. I mean there is obviously not as much
5 transmission pending at this stage in the major downscopings in the
6 last year or so, but still it's sort of amazing when you look through
7 the list of when things had started or where they are, that it just
8 takes time.

9 MR. CHINN: Yeah, it does take time.

10 CEC CHAIR WEISENMILLER: I'm sure the world's changing as
11 you're trying to march forward.

12 Our perception is obviously Mesa Loop-In is probably the
13 most important one there, from our perspective. Is that correct?
14 I mean what are the other -- from your perspective, what are the other
15 key projects from a liability-risk perspective?

16 MR. CHINN: I think for SCE the key two pieces for
17 addressing the SONGS and OTC is really this project, which is the
18 last transmission project to be built. I think of all the other
19 projects, the loop-ins, the decoupling, the condenser, the
20 capacitors evolved in place, this is the very last piece. That's
21 one piece.

22 The other one is the procurement, getting the resources
23 that we got, that was authorized to make up that deficit. It's also
24 another critical piece to this. But as far as the transmission side
25 of things, this is the last piece left to achieve the OTC compliance

1 dates.

2 CEC CHAIR WEISENMILLER: And which of these is the project
3 that is the only connection for the City of Riverside?

4 MR. CHINN: Back in the earlier slide.

5 CEC CHAIR WEISENMILLER: Yeah. I assume it's --

6 MR. CHINN: The one that says load service.

7 CEC CHAIR WEISENMILLER: Yeah, so no more.

8 MR. CHINN: The Riverside Transmission Project is the one
9 for the City of Riverside. They are looking for a second point of
10 service for their load.

11 CEC CHAIR WEISENMILLER: Okay. That's all I have.
12 Anyone else?

13 MR. ROTHLEDER: Just for clarity, maybe this is a question
14 for Neil. These projects, specifically local capacity projects,
15 they are driven more by OTC and SONGS matters. But as they come
16 online, will they have effects in reducing the gas burn need in the
17 local area as they come on?

18 MR. MILLAR: Yes. We would expect -- like the capacity
19 requirements we have identified and the procurement that was already
20 authorized took into account those transmission projects at the time,
21 so we wouldn't see these projects reducing the forecast requirement
22 for gas-fired capacity, but we would expect some of these to also
23 lower the total requirement for gas burned in some of these areas,
24 especially as we're transitioning to faster, more flexible
25 generation.

1 CEC CHAIR WEISENMILLER: Anyone else?

2 Okay. Thank you.

3 MR. JONTRY: Good morning. My name is John Jontry. I am
4 the Manager of Grid Planning for San Diego Gas & Electric Company.
5 And I'm here this morning to give you an update on the
6 Sycamore-Penasquitos 230 kV line. Next slide, please.

7 Just real quick, I'll give you an overview of the SDG&E
8 system as a refresher and then dive into the update.

9 This is the area that we serve and we serve all of San Diego
10 County and the southern portion of Orange County, up to about Laguna
11 Niguel. We serve at 1.3 million meters with about a population of
12 about three million in our service territory electric. Next slide.

13 This is a very high level overview of the SDG&E system.
14 We're connected to the east all the way out to Palo Verde and APS.
15 Two lines, two 500 kV lines are our two main import gateways into
16 the San Diego Load Center, connecting out to Imperial Valley where
17 there is quite a bit of both conventional and renewable generation.

18 We're connected lightly through CFE/Cenace in Mexico and
19 we have an import gateway connecting to Edison at San Onofre. The
20 connection up to SONGS used to be much more robust when the generation
21 was still at SONGS. The retirement of SONGS and then Encina, and
22 then the other once-through cooling really changed the way our system
23 operates. Next slide.

24 So the Sycamore-Penasquitos 230 kV project was initially
25 identified as part of the plan of service for the Sunrise Power Link.

1 It wasn't approved as part of the plan of service, it was replaced
2 by some other 69 to 138 kV upgrades. Later it became apparent as
3 part of the once-through cooling of Encina that it would be, you know,
4 very useful. And it became very apparent we needed to have it in
5 place once San Onofre retired.

6 So the project was approved by the CPUC I believe in 2016.
7 It is currently under construction. This slide shows you kind of
8 where we are right now with the construction process. Basically,
9 the largest and most difficult part of the project is installing the
10 underground ductwork and vaults. A hundred percent of the vaults
11 are installed and we're, you know, close to a hundred percent of the
12 underground ductwork in place. The last remaining part of the
13 ductwork is the bore underneath the I-15 Freeway, which is undergoing
14 right now.

15 Like I said, the remaining work, completing the bore under
16 the I-15 Freeway, pulling in the cable, completing the splices, we
17 have pulled in most of the cable and are over 50 percent done on the
18 splicing work. Basically, once the bore is completed under the 15,
19 we'll complete or pull in the rest of that cable, splice it in, and
20 that's really what's driving the in-service date right now. Next
21 slide, please.

22 Like I said, completing the I-15 bore; finishing up a
23 relatively small amount of 230 kV overhead work outside of the
24 Penasquitos Substation, south of the Penasquitos; finishing the
25 cable terminations, putting it in service and testing. Right now

1 our current in-service target date is July 31st. And, like I said,
2 sort of the critical path on that in-service date is completing the
3 bore under the I-15 and then pulling in that last remaining piece
4 of cable.

5 Really quick, to give you some upgrade on some other --
6 or update on some other major projects coming up in the next few years,
7 not directly related to the once-through cooling issue or SONGS. The
8 South Orange County Reliability Enhancement Project received CPUC
9 approval a couple of years back and we're hoping to start construction
10 on that at the end of this year. The final in-service date in the
11 2021 to 2022 timeframe.

12 As part of the once-through cooling and SONGS retirement
13 we also identified four or five -- I believe there were five --
14 locations to upgrade or to add additional reactive support. Three
15 of those are in service now, the Talega, San Luis Rey, and Miguel
16 Synchronous Condenser Installations. The SONGS installation will
17 go into service at the end of this year. I believe the only remaining
18 one in our service territory is a 300 megavar SVC at Suncrest. That's
19 a project being done by an outside developer and we don't at this
20 time have an in-service date. I believe it's still working its way
21 through the CPUC.

22 The only other project that I will give you a quick update
23 on would be the Artesian 230 kV project. It is awaiting the final
24 MND and I believe we're hoping to start or get a final decision and
25 start construction next year.

1 That's all I have. If there's any questions...

2 CEC CHAIR WEISENMILLER: You know this helps. We have
3 already been assuming Sycamore-Penasquitos was part of the key
4 project. The synchronous condensers are also a key part of the
5 element, but it does seem like a well position. I guess -- are you
6 guys still pursuing flipping SWPL to DC?

7 MR. JONTRY: Yes.

8 CEC CHAIR WEISENMILLER: What's the status of that?

9 MR. JONTRY: Let's see, it's -- we submitted it last year
10 to both the California ISO and to West Connects Interregional
11 Planning -- or Planning Project and also as a reliability project
12 to the California ISO. The ISO at this point hasn't seen the need
13 for that project from a reliability standpoint. We're hoping this
14 year the ISO will be looking at the possibility of reducing LCR RA
15 needs in San Diego that will see some traction as an economic project.

16 We also understand there is at this point the -- we're also
17 sort of waiting for to get guidance on ultimately what the change
18 in RPS goals might be, what that ultimate mix and renewable resources
19 will be. We think as a project it would be very helpful for
20 developing additional renewables in the Imperial Valley and then
21 points east. So right now we're kind of waiting on sort of a better
22 look at it as an economic project and also as to help us -- to help
23 meet some of the ongoing policy goals. But until we get more clarity
24 I think on the ultimate -- ultimately where we go with the RPS goals,
25 I think we're going to be still pursuing the project but it's going

1 to be -- we're waiting for some of those drivers to materialize.

2 CEC CHAIR WEISENMILLER: Okay. I think the PUC's IRP
3 decision is marching along, so some guidance is coming.

4 Anyone else?

5 Okay. Thank you.

6 MR. JONTRY: Um-hum.

7 MR. ZOIDA: Good morning, everyone. My name is John
8 Zoida, with Southern California Edison. I work in their Wholesale
9 Procurement Business Unit. I am currently leading the Moorpark LCR
10 RFP with my colleague Shawn Smith. I also led the PRP1 and PRP2 RFOs,
11 and we'll get to that at the next presentation by yours truly.

12 So earlier this year we launched the RFP for -- to address
13 the Moorpark LCR need. We also have in our target to procure
14 resources to meet our Resiliency Objectives. But the LCR need has
15 been identified by the ISO as one particular transmission
16 contingency. I have information in the back-up slides. Actually
17 there were two transmission contingencies, but one of them is being
18 addressed by the Moorpark Pardee line that Garry Chinn, my colleague
19 just spoke about. But the other contingency is going to be addressed
20 by Energy Resources, procured via this RFP.

21 So just a little background. The ISO each year revises
22 or reassesses the LCR need, the subject matter here of course is the
23 Moorpark subarea of the Greater Big Creek LCR region. The LCR need
24 could be affected by such things as load forecast updates -- we have
25 heard a little bit about that; new transmission projects -- we heard

1 about that today; resource retirements, whether expected or actual;
2 and new build contract delays, contract terminations, all of the
3 above could affect the LCR need.

4 But where we stand today the ISO has identified,
5 preliminary I believe identified a megawatt need to address this
6 contingency, this remaining transmission contingency, and they gave
7 us a range. It's 102 to 164, and this is dependent largely on the
8 area we're talking about. And I did skip over a line here on point
9 number 1. The areas we're looking at, Moorpark is just the name of
10 the subregion. It's really the distribution and, to some extent,
11 the transmission systems served by the Goleta and Santa Clara
12 Substations. So really this 102 to 164 depends on where the
13 resources are located. There is some interplay between Goleta and
14 Santa Clara and there is some interplay between whether a resource
15 will be a distribution-connected resource or a
16 transmission-connected resource.

17 With that, let me state we have heard a lot about DER RFOs
18 or DER's, Distributed Energy Resources. This RFP is not a DER RFP.
19 It's all the above, both of the above. It's transmission and
20 distribution resource. So there is some interplay between those two
21 locational dimensions and what we ultimately need. Will we need more
22 -- closer to the 102 or the 164.

23 So that is the primary focus of this RFP. It is indeed
24 the LCR need. That's what we're authorized to procure, of course
25 subject to ultimate PUC approval. But we also have an objective,

1 a resiliency objective in the Goleta area. Edison has identified
2 a particular issue that can occur with respect to the only two large
3 transmission lines feeding into the Goleta area, if you will. And
4 by Goleta I mean Carpinteria; Santa Barbara; Isla Vista; the campus,
5 the U.C. Santa Barbara campus; and several others, Montecito, and
6 several others certainly that you have heard in the news this year,
7 and more.

8 So this is -- this resiliency objective is not mandated.
9 It is an objective by Edison. The quote-unquote megawatt objective
10 is about a hundred megawatts, but anything sited in the Goleta area
11 will count for LCR. It will be casually referred to as a two-for.
12 But that doesn't mean that we will be siting everything or even
13 anything in Goleta. We hope to. We expressed a preference to
14 sellers and the offerors to site in Goleta over in the Santa Clara
15 area, but we'll see once we receive offers and assess those offers
16 for economics as well as viability.

17 Going on to page -- the next page, page 3. So just on a
18 high level, we're looking for additional resources. These are both
19 in-front-of-meter and behind-the-meter resources. And, as I said
20 a moment ago, this could be distribution connected and transmission
21 connected.

22 In the Santa Clara area only preferred resources are
23 permitted to participate. If we get a gas-fired proposal in the
24 Santa Clara, it is ineligible, we will not consider that. However,
25 in the Goleta area we are allowing to -- for offerors of natural gas

1 fire facilities to submit an offer. Edison is a strong proponent
2 of clean power for our grid, but we want to look at offers for natural
3 gas fire facilities as potential consideration should preferred
4 resources not be able to meet the resiliency needs. It's for a
5 consideration.

6 More on RFP eligibility. The technology has to be
7 commercially proven in parts or in whole of the project. And
8 delivery at this point needs to be by 1/1/2021. Where that comes
9 from is the retirement, the ultimately deadline for once-through
10 cooling retirements. That's where we get that from.

11 Other focal points of the RFP are: Preferred resources
12 in disadvantaged communities. Within the footprint of our RFP,
13 there are certain communities identified as distributed --
14 disadvantaged communities, or DAC's for short. There are several
15 areas located in the Ventura County that are identified as DAC's.
16 So let's hope that we get offers for preferred resources in those
17 areas. The Goleta area doesn't have any -- at current doesn't have
18 any regions identified as a DAC.

19 We also encourage participation by deferred and diverse
20 business enterprises, whether they are a DBE themselves or they have
21 DBE goals with their own suppliers for equipment and installation,
22 and so forth. I think I stated already resources sited in Goleta
23 would also address -- or would address both reliability, LCR, and
24 resiliency.

25 And of course within the Goleta -- now I'm talking within

1 Goleta, we do have a preference for referred resources over natural
2 gas, to repeat myself there.

3 So there are challenges and there are encouragements with
4 respect to this RFP. The delivery by January 1st is really going
5 to be a challenge. There are several long lead-time items. One of
6 them is the interconnection process, especially with respect to the
7 in-front-of-meter. And the lower the circuit level they're
8 interconnecting, the shorter it will be, and conversely the higher
9 when you get to the 66 kVs or even the transmission. It's going to
10 be challenged to meet this 1/1 date.

11 Behind-the-meters installations, they don't necessarily
12 depend on that -- there are other challenges with behind-the-meter
13 installations, but this interconnection is not noted as one of --
14 a big issue for behind-the-meter.

15 More on the interconnection process. Unfortunately, it's
16 more in serial and not in parallel with this RFP process, which is
17 almost a year -- about a year long. And then there is the PUC approval
18 process. So rarely do you have offerors willing to -- they're
19 certainly investing time and money into projects even right now, but
20 in order to start construction on the interconnection, they will
21 likely wait for PUC approval before doing that. Now it would be great
22 if they started shelling off a lot of investment and money prior to
23 PUC approval and that could make a date like 1/1 a lot more feasible.

24 We are working with our own interconnection group as well
25 as the ISO in seeing if we could work on that date. That date is

1 very granular. Again, it's based on the once-through cooling, but
2 when does the actual LCR need materialize; is it later in the year.
3 So we're working it. We're hopeful to be able to push that date out
4 a little more. We don't know exactly how much more, but it will just
5 be in terms of months.

6 Encouragements. I did take a peak at our interconnection
7 queue. The latest interconnection queue for in-front-of-meter
8 projects closed at the end of April. We -- it's public information,
9 so I looked on Edison's public website. We are still populating that
10 spreadsheet, if you will. But we do see a lot of megawatts being
11 -- that has entered into the transmission queue -- I'm sorry. I
12 should say the distribution queue process. I was only looking at
13 the WDAT. I have not looked at the CAISO interconnection
14 transmission queue process.

15 We see a lot of megawatts. I'm not saying those are viable
16 projects. I'm not saying they're nonviable projects. But there are
17 a lot of megawatts and that's encouraging. The super majority of
18 those megawatts are energy storage, but I do see some fuel cells,
19 fuel cells coupled with energy storage. I see a couple of solar.
20 We really want generation to be a part of this RFP, but a
21 supermajority, like I said, is energy storage.

22 And we also have excellent support from the communities
23 in Ventura and Santa Barbara. Namely, there is a nonprofit called
24 Clean Energy 805. They're doing a lot of good work. We're helping
25 them out, we're supporting them to a certain extent. But they are

1 playing a really good matchmaker between offerors -- or developers,
2 I should say, and businesses that might be inclined to install some
3 behind-the-meter storage, for instance, or rooftop solar behind the
4 meter as well.

5 There are some back-up slides. Feel free to ask me
6 questions about the entire deck or anything else you could consider.

7 CEC COMMISSIONER MCALLISTER: I wanted to ask about the
8 criteria for evaluating EIRs in this RFP process. So why don't we
9 just get a sense for the hurdles that preferred resources face and
10 what criteria you're using to kind of evaluate them to judge whether
11 or not they meet your resilience and reliability --

12 MR. ZOIDA: Right.

13 CEC COMMISSIONER MCALLISTER: -- requirements in that
14 context. And so you mentioned storage and solar behind-the-meter
15 resources. I'm wondering about demand-side resources, sort of more
16 traditionally conceived as, you know, energy efficiency and demand
17 response itself.

18 MR. ZOIDA: So your question is how do we evaluate these
19 in terms of everything, really viability, economics?

20 CEC COMMISSIONER MCALLISTER: Yeah. From a bitter end of
21 this RFP, you know what hurdles would they have to get over in terms
22 of proof of reliability and resilience support.

23 MR. ZOIDA: Right. So in the RFO instructions, and we
24 also had published some guidelines, it's really the burden of proof
25 is on them to convince to us how you can site a project and get it

1 online by, in this case right now we're at 1/1/2021. Do you have
2 permits on hand? Do you have site control? Are you in an
3 interconnection queue process? If you're in Interconnection Queue
4 Cluster 10, which was last year's, hey, more thumbs up. If you're
5 in 11, it's going to be tight. So we do screen for viability. And
6 we offer -- we feel we give the offerors tools to fill out their
7 offeror package and convince to us where they're at and what kind
8 of experience they have in procuring financing and procuring the
9 equipment.

10 So we will need to assess the viability, certainly, of
11 these projects. So that's really step one -- well, actually step
12 one is are they eligible. That's the first stream.

13 Step two is we assess their viability. Is this just pie
14 in the sky technology or is this lithium batteries that have been
15 fairly proven or proven flat out. And then from there we move onto
16 the valuation, we move onto the economics, the least cost part of
17 the least cost best fit -- and then we look at the best fit in terms
18 of selection. So that's the skinny of the gamut.

19 Is it a hundred percent scientific? No, there is some art
20 in there. We have a big team of engineers. They will be assessing
21 project viability. We have our interconnection people that will be
22 assessing the viability of the interconnection. So we're hitting
23 this at many different dimensions here. We understand the viability
24 is key here and 1/1/2021 is right around the corner. And we almost
25 don't have a second bite at this.

1 CEC CHAIR WEISENMILLER: The thing I found -- I found a
2 couple things interesting. One was obviously we were dealing with
3 the question of resilience in the number context and the PUC's new
4 adaptation workshop -- OIR. But critically you have defined for
5 resilience purposes here how to keep the grid -- and how to keep the
6 lights on if you lose the transmission in this area.

7 MR. ZOIDA: Yes, sir. So we looked at reliability as the
8 uninterrupted --

9 CEC CHAIR WEISENMILLER: Right.

10 MR. ZOIDA: -- flow of power. And reliability is like a
11 bounce back, the N-2 happens. N-2 is our nomenclature for those two
12 lines going up.

13 CEC CHAIR WEISENMILLER: Right.

14 MR. ZOIDA: These two lines go out. How quickly, and we
15 -- how quickly can we bounce back. I was going to say and reliably
16 bounce back, but I don't want to conflate terms. Yeah, so that's
17 how we're defining it. It happens and then how do we get back to
18 it, back to delivering energy.

19 CEC CHAIR WEISENMILLER: And, again, I'm just trying to
20 figure out the context if there are any really load-management
21 options or demand-response options which obviously don't pull you
22 into all the interconnection --

23 MR. ZOIDA: Yeah.

24 CEC CHAIR WEISENMILLER: -- permitting issues but have a
25 different set of reality issues.

1 CEC COMMISSIONER MCALLISTER: Yeah. And I guess -- so you
2 mentioned interconnection as sort of like one of the -- one of the
3 bottlenecks that projects have to get through; well, that's not the
4 case with some demand resources. And so, you know, if we're going
5 to make our buildings themselves part of the solution, then those
6 criteria may look pretty different from -- well, they will look very
7 different from a generation project or a storage project. And
8 personally I think those have to -- those are going to end up being
9 -- they could end up being part of our least-cost solution, but it's
10 a completely different business model or a very different business
11 model from some of the other options. And so, you know, I very much
12 would encourage that.

13 And I guess maybe just on Bob's point, you know now that
14 you've been through several iterations of preferred resource RFPs,
15 I'm kind of wondering what hard lessons you've learned about -- or
16 what lessons you've learned about sort of getting them through that
17 whole process and to reality out the back end of the PUC approval.

18 MR. ZOIDA: One lesson learned is certainly the viability.
19 And, as I just explained, we're going to be attacking that in many
20 different dimensions, the interconnection side, the technology side,
21 so we really need a robust viability assessment.

22 Number two, and this is on the slide of the next
23 presentation, what we want to do better at is when we are selecting
24 offerors -- well, we select offers, but we also have to look at
25 offerors. So we don't want to select a behind-the-meter

1 aggregator/developer, we don't want to select two of them that are
2 going after the same market segment necessarily. But if their
3 project sizes are small, maybe there is an exception to it. So there
4 is another lessons learned is really be strategic in your selection
5 of the offerors and what market segments they go after.

6 In-front-of-meter, it's the interconnection process where
7 we're stuck with it. It's a long lead item. We are working more
8 and more with the Interconnection Group, though, unlike years past
9 where we're really siloed, we are working lock step with them, so
10 I think that's going to be more valuable. That is certainly a lessons
11 learned.

12 And the Commissioner made a very good point, when you're
13 bouncing back from an N-2, the behind-the-meters projects don't help
14 you get back. You need the in-front-of-meters, but then once you're
15 cobbling together the grid and it's starting to become operational,
16 if you could bring, ratchet back that demand a little more, that's
17 where the behind-the-meters will come into play for resiliency now.
18 I'm just talking resiliency, not necessarily the LCR need.

19 If I may, I could go on to the PRP.

20 CEC CHAIR WEISENMILLER: Please.

21 MR. ZOIDA: Yes. Thank you so much.

22 So as you're queuing that up, I think my colleague Sergio
23 Islas last year presented to this group. Just to maybe help people
24 out, if they haven't heard about the PRP or hadn't heard of it for
25 a while, this is an initiative. It's taking place in the certain

1 portions of Orange County and specifically it's those distribution
2 areas served by the Johanna and Santiago A Bank Substations. The
3 PRP, the pilot, not the RFO, the pilot really came to be for a variety
4 of reasons: The SONGS outage; the once-through cooling retirements;
5 population, significant expected population business growth in this
6 area; as well as California policy preference for preferred
7 resources.

8 So we conceived and implemented this PRP and it's really
9 divided into acquisition of resources, then you have the deployment
10 or them coming online, operating -- that's the third, and then
11 measurements. So I'll go onto the first page.

12 And this first page looks at really the first two, the
13 procurement and the deployment. Now the procurement over the years,
14 I look at it as fairly successful. We started with the 2013 LCR RFP
15 and we stated a preference for the preferred resources pilot area
16 -- I'm sorry. Yeah, the preferred -- the PRP area. And we signed
17 up a lot of contracts for those.

18 And you see in this table with a lot of numbers the -- and
19 the procurement source, you see LCR throughout here and it's divided
20 by the first column is the resource type. So you see that we signed
21 up many megawatts from that LCR, the 2013 LCR program. So, for
22 instance, energy efficiency, we signed up 158 megawatts. The
23 negative 4, the numbers in parentheses, that was the change from what
24 Sergio had presented to this group last year, so that could have been
25 -- likely it's a contract terminated. I don't have the details, but

1 that's likely what it was.

2 So a fairly robust procurement. Looking at these larger
3 numbers, the deployment is certainly another story. We were hopeful
4 that these numbers would have been a bit larger, but we're hopeful
5 that throughout this calendar year and into next, the numbers will
6 -- in these last two columns, the numbers will certainly increase.
7 We're very hopeful of that.

8 You could certainly ask questions at the end of this on
9 this slide, but if I may turn to the next slide. In looking at the
10 progress of the pilot itself, the PRP pilot, again those four
11 dimensions or milestones here. Acquisitions seems to be really on
12 track. We're leveraging -- most RFOs we go out with we give a --
13 even if it's not PRP specific, we give a plug or a preference or
14 encouragement for those resources in the PRP area.

15 The deployment, we're meeting some challenges. There are
16 project delays and terminations and, you know, approvals that are
17 needed. So we're -- that's a bit challenged, that aspect.

18 And then operations and measurements, really a
19 wait-and-see. We have some online now. We are taking some
20 measurements. We're identifying peak days and seeing how the
21 resources that are have been deployed, how they will contribute to
22 meeting the days demand electrical needs.

23 As far as preferred resources in general, a good
24 encouraging thing is the solicitations that we do run, we have x times
25 need that are contributing into our RFPs. It's highly competitive,

1 so that's good news. We see improved prices each time. The last
2 several RFOs, RFPs, we've seen mostly energy storage. I gave you
3 an insight into the WDAT grid. When I ran the PRP2 RFO a year or
4 so ago, I think we signed up -- 90, 95 percent of what we signed up
5 was energy storage, whether in front of meter or behind the meter.
6 In front of and behind, that was a nice, even split, but it was heavy
7 on energy storage. There was a little bit of solar in there.

8 And I think I talked about -- the bullet 2 is behind the
9 meter there are deployment challenges, including developers
10 targeting the same markets. There is also a challenge which I didn't
11 really put here is sometimes it's difficult to get an installation
12 in a building. You might have a disconnect between a tenant, the
13 renter of the building, and then the owner. So you have multiple
14 parties to contest with. Sometimes the building owner, they have
15 a great amount of money each month for rent but do they want to disturb
16 their tenants for in their mind not as much of an additional revenue
17 stream, is that really worth it. So there are certainly challenges
18 with both in front of and behind the meter. This was just an example
19 of the behind-the-meter challenge.

20 And I did allude to that we're looking to improve our
21 strategy of selecting offerors, not selecting behind-the-meter
22 aggregators that target the same market, to the extent that there
23 is too much chasing too little.

24 And then we have begun outreach, also customer, retail
25 customer outreach on our own. We haven't done that in the past.

1 And we also learn, we improve our pro formas all the time
2 and you put in additional requirements for the offerors or sellers
3 to abide by.

4 So that's the report out for the PRP.

5 CEC CHAIR WEISENMILLER: Now when you talk about behind
6 the meter, is that primarily commercial or is that multi-family or
7 issues --

8 MR. ZOIDA: All the -- yes, sir. It's industrial,
9 commercial, and residential.

10 CEC CHAIR WEISENMILLER: Okay.

11 MR. ZOIDA: So, for instance, one of the -- one of the
12 companies we signed up pursuant to the PRP2 RFO, this company, their
13 foray is -- their target market is residential. So that was nice.
14 Most of them are commercial, industrial. So it's all of the above
15 really.

16 CEC CHAIR WEISENMILLER: All of the above. And, again,
17 just trying to understand your take-aways on sort of what's worked
18 the best or been the most problematic?

19 I mean obviously looking at the numbers, you've got pluses
20 and -- you know, as you indicated, there is a pretty big gap between
21 what's been procured versus what's been deployed.

22 MR. ZOIDA: Right.

23 CEC CHAIR WEISENMILLER: And presumably, you know, you see
24 some trail off but you see some addition, so it isn't all contracts
25 going by the wayside.

1 MR. ZOIDA: Right. There is something else I think we
2 should look at as well. It's -- I think one lesson learned would
3 be our offerors over promising. Do they think there is more
4 potential than there really is.

5 Now we think in theory we have so many hammers in our
6 contracts, development security, performance assurance, and other
7 issues, and in the meantime they are spending money throughout this
8 whole process. We would think those are incentives enough for them
9 to understand that -- they understand what is the market potential.
10 So if we could also do our own assessment and not sign up, just pure
11 example, not sign up a 50-megawatt project if we don't think there
12 is 50 megawatts worth of business to be had. That's a big one.

13 Now the in-front-of-meters, barring the lengthy
14 interconnection process, we found in-front-of-meter, especially
15 energy storage as those are pretty viable. Those get built fairly
16 quick in the grand scheme of things. Solar, PV, ground-mount, for
17 whether it's in front of or behind the meter, that might be a little
18 more challenging in the Goleta area, just given its make-up is highly
19 residential. So that might be a challenge. I'm not saying an
20 impossibility. Rooftops would be a better bet, but solar would be
21 probably a little more challenging than energy storage.

22 CEC COMMISSIONER MCALLISTER: I mean I guess just a
23 comment on the demand side stuff. I mean historically a lot of energy
24 efficiency has happened over in kind of a bolted-on thing called the
25 efficiency portfolio and not part of procurement. So I'm actually

1 really hoping and encouraged by the preferred resources pilots and
2 just hoping that we can make that a success. And certainly I think
3 it's sort of prime time for the efficiency community to really see
4 the seriousness of that, of the need to have that be a success.

5 At the same time I do worry about kind of the hammers that
6 you, you know, mentioned, and absolutely accountability has to be
7 there, but the nature of that endeavor is that the more we sort of
8 get up under the hood and expect lots of data collection and increase
9 the transaction cost, you know, because it's diffuse, it's a diffuse
10 activity, and so the temptation is to sort of really be overbearing
11 on the M&V or the measurement verification of all these savings. I
12 guess I'm wondering how much Edison has embraced sort of looking at
13 analytical methods to gauge the impact of the demand side aggregated
14 resource and how you see that, sort of the contracting and then the
15 verification on your end to really show that delivery is happening,
16 has happened, and that you can expect it. You know what sort of tools
17 have you developed, if any, to assess demand and reductions or demand
18 manipulation as a preferred resource, sort of that in that context
19 going forward?

20 MR. ZOIDA: Unfortunately I'm not qualified to answer
21 that. I could take a guess, but I just don't want to be wrong. I
22 believe this is being recorded. I can take that back and make sure
23 to get that question verbatim and give you a written response; is
24 that -- I hope that's acceptable.

25 CEC COMMISSIONER MCALLISTER: That's fine. I'd love to,

1 you know, have that interaction actually with who the relevant staff
2 is. You know we're in 2018 and we have a lot of analytical tools
3 that we didn't have even a few years ago, so I think that's a way
4 to ease this transition into a broader array of demand side resources
5 that maybe we wouldn't have been able to, you know, five or ten years
6 ago.

7 MR. ZOIDA: Right, right. As far as hammers in the
8 contracts, I used the word first and then you used it, there is nothing
9 noteworthy changing from -- we have developed throughout the many
10 years of being in procurement, but from the past couple RFOs to now
11 there hasn't been anything that has drastically changed or the hammer
12 got to be a sledgehammer now. And we have signed up -- there are
13 commercially-proven contracts, they have signed up, they have had
14 -- there are risks to be had on both sides. And we have both entered
15 into these agreements. Deployment is slow on some respects. We get
16 that. But there is not a drastic change in hammers between recent
17 RFPs where we've had entered into contracts, but still you deserve
18 an answer to the -- to your question.

19 CEC CHAIR WEISENMILLER: Thank you.

20 MR. ZOIDA: Thank you.

21 MR. THAI: Good morning, everyone. My name is David Thai.
22 I'm with San Diego Gas & Electric, part of the Electric and Fuel
23 Procurement Organization. I'm providing an update today on the
24 Carlsbad Energy Center and SDG&E's Preferred Resource Procurement.

25 As you have heard from Neil, with the ISO earlier, the

1 Carlsbad Energy Center is expected to be fully online in Q4 this year.
2 Per our last conversations with NRG, they expect testing to occur
3 this month. And, for those of you who are unaware, that's a
4 500-megawatt conventional gas-fired generation facility in the
5 Carlsbad area of San Diego County.

6 As of April 25th, SDG&E received a proposed decision from
7 the CPUC approving a number of preferred resource contracts, five
8 battery-energy storage contracts, and one demand-response contract,
9 in total equaling 88 megawatts of the local LCR capacity. That
10 includes two-utility owned projects of Fallbrook and Miramar, of 40
11 and 30 megawatts respectively. And there is a demand response
12 resource in there, four and a half megawatts.

13 In conclusion, per the CPUC's 2012 long-term procurement
14 plan track for a decision authorizing SDG&E to procure, 700 to 800
15 megawatts of local capacity, SDG&E has secured 500 megawatts of
16 conventional generation per the Carlsbad decision, as I mentioned
17 earlier, and now a total with -- given the 88 megawatts of approved
18 preferred resources, SDG&E has 144 megawatts of in-basin preferred
19 resources counting towards that track 4 procurement target.

20 That is all I had. Are there any questions?

21 CEC CHAIR WEISENMILLER: Yeah. Trying to get a better
22 sense of on your list of Preferred Resource Projects, you've got the
23 expected online date. I was just trying to understand, I think
24 that's Ohmconnect is probably the soonest one and the rest go out,
25 you know, all the way up to several years back.

1 MR. THAI: That is correct.

2 CEC CHAIR WEISENMILLER: So that -- I'm assuming part of
3 the question on this is just going to be tracking progress going
4 forward and seeing what we get out of this. It is an interesting
5 mix, as you know. You indicated most of these are storage projects.

6 MR. THAI: That is correct.

7 CEC CHAIR WEISENMILLER: And we've -- just those seem to
8 be the simpler ones, at least on the front side of the meter to make
9 happen.

10 MR. THAI: Right.

11 CEC CHAIR WEISENMILLER: Any issues on interconnection
12 with these or...

13 MR. THAI: None that we're aware of. These dates are,
14 again, two to three years, --

15 CEC CHAIR WEISENMILLER: Right.

16 MR. THAI: --, you know, out, so.

17 CEC CHAIR WEISENMILLER: Yeah.

18 MR. THAI: But we have not heard of any issues regarding
19 these contracts.

20 CEC CHAIR WEISENMILLER: Okay. Well, thank you.

21 Anything?

22 CEC COMMISSIONER MCALLISTER: I'm wondering -- sort of
23 again I'll hammer on -- to use the hammer again -- hammer on the demand
24 side and particularly the -- sort of the efficiency demand response.
25 You know, I think that's a good decision to include that particular

1 project, but I guess I'm wondering did you get sort of a broader array
2 of technologies in the RFP and these are the ones you ended up with
3 or was this sort of representative of the group that you got?

4 MR. THAI: This is representative of the group we
5 received. There was another energy efficiency project that was --
6 that was actually taken and approved back in -- actually I take that
7 back. There was an energy efficiency project that was approved, I
8 don't have the date in front of me, but it was 18 and a half megawatts
9 worth of energy efficiency.

10 CEC COMMISSIONER MCALLISTER: In a previous RFP?

11 MR. THAI: In a previous RFP, --

12 CEC COMMISSIONER MCALLISTER: Okay.

13 MR. THAI: -- that is correct.

14 CEC COMMISSIONER MCALLISTER: So -- but this was strictly
15 an LCR procurement?

16 MR. THAI: That is correct.

17 CEC COMMISSIONER MCALLISTER: Okay. Okay. Thanks.

18 CEC CHAIR WEISENMILLER: Thank you.

19 MR. RONDOU: All right. Good morning. My name is Jason
20 Rondou. I am the Manager of Strategic Development and Programs at
21 LADWP. I'm going to talk today about -- touch on a few highlights
22 of our Ten Year Transmission Plan and touch on preferred resources,
23 including some of the changes that we have undertaken recently,
24 particularly in the last couple years following Aliso Canyon. So
25 onto the next slide.

1 Our Ten Year Transmission Plan is really, you know,
2 undertaken to ensure reliability, but it was becoming exceedingly
3 more important in the last couple years in light of two major efforts
4 that we have undertaken. And the first is the OTC study that we have
5 undertaken. And it was mentioned earlier that we're going to get
6 some of the results from that shortly here, this summer. And I think
7 that's going to have a pretty substantial influence on this. And
8 I think the second one is our 100 percent renewable study that is
9 going to be completed over the next couple years, and I think that
10 may have a very, very large impact on what our outlook looks like.
11 But even before those we do have a number of substantial upgrades
12 that we recently completed and that we're going to complete in the
13 coming year.

14 So in the next slide you will see an overview of our sort
15 of what we call out-of-basin and in-basin transmission system. So
16 on the left-hand side, I'm going to start with C, that's our PDCI
17 segment that comes into the city there at Sylmar (phonetic). And
18 then the D is our Owens Valley system. And I'll talk in a second
19 about a substantial amount of solar that's now coming in through that
20 area. And then segments A and B what we call our Vic-LA, or
21 Victorville-Los Angeles path. And, you know, I'll mention some of
22 the future upgrades and potentially very, very substantial future
23 upgrades through those lines.

24 Locally we have four generating stations, gas-fired
25 generating stations, and three of those are subject to the OTC

1 repowering study. And those provide reliability must-run and
2 voltage support local in-basin as well.

3 And then the last one, our Valley Generating Station, which
4 is kind of in the center of that map there, one really interesting
5 point here is the two lines that bring power out of Valley were slated
6 to be upgraded this past winter. And we elected to defer those
7 upgrades to ensure reliability and so you're starting to see the
8 trade-off between moving towards a long term where we're less reliant
9 on gas and then maintaining reliability in the short term. And so
10 I just wanted to kind of highlight that and the importance of those
11 short-term challenges.

12 Onto the next slide is where I'd like to highlight our
13 Barren Ridge Transmission upgrade. And what this allowed us to do
14 is bring 1,000 megawatts of solar into our system. There is a number
15 of solar installations here, all of them on the right-hand side of
16 that map, have come online in just the last couple years. And we
17 actually have a number of projects that are also slated here as well.

18 So on the next slide you can see, you know, in addition
19 to that recent upgrade we are targeting a further upgrade of that,
20 of another 700 megawatts. And to give context for those -- most will
21 be aware of this, but for those that aren't, our peak demand is around
22 6400 megawatts. So these are very, very substantial numbers for us.

23 And you will see that we have got a whole lot of solar and
24 renewables concentrated coming into this one area, and so the one
25 benefit that we get here is we're leveraging an existing resource,

1 right. But the trade-off here is the geographical diversity. And
2 so the upgrade that would provide more energy capacity from Castaic
3 helps mitigate that a little bit. And so you could see again, you
4 know, we've got these constant trade-offs between leveraging these
5 existing resources and providing geographical diversity, but we've
6 put a big effort in to try to mitigate some of the shortcomings there.

7 So onto the next slide. And, again, this is another
8 near-term project that we expect to have done by 2022, is to have
9 upgrades of about 450, and it might actually turn out to be closer
10 to 500 megawatts here. And this, you know, will largely be equipment
11 replacing, so replacing transformers and SVCs in order to gain that
12 expanded capacity. And you will see in a moment the importance of
13 this because as we move further outside of Los Angeles, you will see
14 that we have a whole lot of opportunity to bring in new renewable
15 resources, but to be able to get it home we need to have these other
16 upgrades in place.

17 And so on the next slide here, with the divestiture of coal
18 here we've got another, you know, over 600 megawatts of potential
19 capacity on our transmission line to bring that to home. And so,
20 again, this just further drives home the point of to be able to
21 leverage this we need to continue the local upgrades as well.

22 So on the next slide here at Mojave, so this one is a little
23 bit closer and we actually have a number of potential projects that
24 are being proposed currently here. And so this is another 700
25 megawatts of transmission capacity that we have the rights to and

1 so there's, in this area I think, a whole lot of solar and potential
2 opportunities for solar and storage.

3 So on the next slide some of the longer-term potential
4 upgrades that we have here. And these, again, become increasingly
5 important when we're talking about a hundred percent renewable cases,
6 particularly the Vic-LA on the left-hand side, potentially even
7 converting these to high-voltage DC or AC. And so now we're kind
8 of getting far away from the low-hanging fruit of the previous upgrade
9 that I mentioned, about the 450 megawatts.

10 And then on the right-hand side, you know, doing life
11 extensions for a southern transmission system in order to bring home
12 600 megawatts, potentially more than 600 megawatts in the future as
13 we divest from coal at IPP as well.

14 And so to kind of recap on the next slide, again we've got
15 these near-term trade-offs. We've got these challenges about
16 maintaining reliability versus moving more and more towards a hundred
17 percent renewable case, and again I think these ambitious
18 transmission upgrades may grow in scope I think in the next couple
19 years as well.

20 And so in the interests of time I think we'll jump right
21 into the preferred resources section here. And I just want to, on
22 the next slide, touch on a few of the things that changed in just
23 the last couple of years. And so we accelerated plans for similar
24 energy storage projects following the Aliso Canyon incident. And
25 we accelerated existing energy-efficiency programs, in some cases

1 dramatically accelerated our energy-efficiency programs.

2 We launched new demand response programs, one called the
3 Summer Shift. And then on the local solar side, we had a number of
4 opportunities to expand or continue programs that were in place and
5 that were previously scheduled to sunset. And so that will take us
6 to our next slide, where we talk about some of our local solar goals.

7 LA was recently recognized as the number one city in the
8 country for local solar, and so that means behind-the-meter solar.
9 This doesn't count anything outside of the city territory. And all
10 that totals to around 300 megawatts. Well, we've got goals for about
11 1500 megawatts. So while we've made some really substantial
12 progress, it's really taken a portfolio approach to doing
13 behind-the-meter solar which has its benefits but also its
14 limitations. We've got our Feed In Tariff Program where we buy all
15 that energy, and it's power purchase agreements. And the
16 significance of that is we've got a little bit more control over it
17 and we've got the ability to count our renewable energy credits for
18 those.

19 We have a portfolio of programs that really address equity
20 and customer choice issues, and so these don't really add a whole
21 lot to our renewable portfolio, but they are significantly important
22 for strategic and for equity purposes.

23 And then finally LA does a little bit of constructing and
24 operating and maintaining of our own solar. And this chart here just
25 gives us a sense of the magnitude of what we're, you know, planning

1 on for local solar. And so, you know, solar in general probably
2 accounts for really roughly half of our RPS targets and you can see
3 maybe a third of the solar is local. And so it is a big deal and
4 it's really going to take, like I said, a portfolio approach but also,
5 you know, pretty significant innovation, which on the next slide
6 you'll see a really significant project down near our Port, and so
7 this is probably one of largest -- it's absolutely the largest in
8 Los Angeles but it's probably one of the two or three largest in the
9 country rooftop solar installation. This kind of highlights the
10 importance of our Feed in Tariff Program, where this facility
11 probably doesn't use a whole lot of load but they've got a whole lot
12 of roof space, and so this provides kind of an opportunity for us
13 to leverage those roofs.

14 Moving onto energy storage. So in addition to updating
15 our Castaic Plant in 2013, we also did a handful of really innovative
16 projects, one on the right hand, bottom right, you will see a sketch
17 of the fire station out in Porter Ranch where we installed solar and
18 storage, and did a little demonstration of, you know, kind of a nano
19 grid or micro grid pilot here. And, interestingly, there was an
20 outage shortly after commissioning and there was no disruption in
21 service for that fire station.

22 In addition to that we're looking at a number of recreation
23 and parks facilities. And so, you know, we've got the benefit of
24 being very closely tied to other city departments as well. And we're
25 kind of leveraging those relationships as well. And, interestingly,

1 a lot of rec and parks facilities are also used as emergency
2 operation, back-up centers. They are used as cooling centers. And
3 so there is a really big importance for us to look at those potential
4 sites as pilot sites for additional micro grid installations.

5 We also -- and I'll show a picture of it in a moment --
6 accelerated our Beacon Battery Storage System, our 20-megawatt
7 half-hour battery, a year early. And so on the next slide you will
8 see a picture of that, and that's in the foreground. In the
9 background you see our 250-megawatt Beacon Solar installation that
10 was recently commissioned in phases over the last year or so.

11 And continuing on the next slide on storage, in response
12 to Senate Bill 801 we were asked to look at the cost-effectiveness
13 of incorporating 180 megawatts of storage and so, you know, we did
14 that. We brought on a partner, we brought on EPRI. And we looked
15 at the cost-effectiveness of that over -- over the years. And it
16 looks like what we'll be targeting, and I think the more substantive
17 plans will be to come, is a launch date of around 2021 for a project
18 of this magnitude.

19 And moving on to demand response. Now you know we've got
20 for our side we've got fairly ambitious plans for DR and it's been
21 a little bit of challenge to roll those out, in part because we still
22 need to launch the systems to be able to maintain and operate and
23 control these. And actually we've learned that, and many folks who
24 have done DR for a number of years have probably known this, that
25 adoption is a little bit difficult when you don't have those systems

1 to automate that, and a lot of customers are not willing to do sort
2 of the manual demand response. And so in order to address that we
3 have launched and created new groups to actually deploy the systems
4 necessary to control that.

5 What we do have coming up in the future is a thermostat
6 program that we're hoping to launch by next summer to help leverage
7 the vast amount of smart thermostats that we already have in the City
8 of Los Angeles.

9 And then we expect to this year, and we expect to be done
10 by the end of this year, update our DR plans to look at not only what
11 the outcomes are of the once-through cooling study but to look at
12 things like year-round DR and beyond just the traditional, you know,
13 summer season for DR.

14 On the next slide I'm going to touch on some of our electric
15 vehicle targets. So we've got a five-year goal and this is not draft,
16 this is now adopted, of nearly 150 [sic] electric vehicles in Los
17 Angeles. And so that includes 10,000 commercial chargers in LA And
18 City and LADWP are deploying a substantial amount of those on City
19 property that's publicly accessible. And so this is, you know,
20 particularly important having these goals in place because of the
21 executive order to have 250 chargers by 2025, and so that really gets
22 us on track to try to achieve that really ambitious goal.

23 And so how are we going to do that. We're actually going
24 to try to play a role in increasing EV adoption, not just by having
25 the infrastructure there but by also providing additional incentives

1 beyond that. And so on the next slide you will see that we recently
2 launched a used-car rebate of \$450. And so that's -- you know,
3 obviously has value for equity as well but can help hopefully drive
4 EV purchases and adoption beyond what we had originally projected
5 for the City of LA.

6 And so we also have the existing charge rebates, and we've
7 had these since 2011. And we're also developing, and this kind of
8 touches on demand response as well, developing a smart charging pilot
9 that will look at dynamic rates and potentially the ability to call
10 on those resources as needed.

11 And we also recently launched a very, very cool car-sharing
12 program, an all-electric car-sharing program that will help in part
13 touch on different parts of the city that don't have as much access
14 to electric vehicles and the electric-vehicle charging. So I think
15 those are going to be particularly important. Then of course we have
16 our commercial rebates. And we're looking to actually extend -- or
17 expand those availabilities by looking at things like any-time rates
18 and things like that.

19 So I'm going to kind of wrap up the presentation by touching
20 on energy efficiency. And I've got the budget numbers here, the
21 actuals that kind of grow into the projected year. And one thing
22 that you will kind of see is a very, very large growth from 2016 to
23 2017. And so that's not necessarily a change in scope, a change in
24 budget. It's a change in our ability to actually reach those
25 numbers. And so we went -- we've effectively doubled our ability

1 to deploy. And part of that has to do with, you know, expanding our
2 portfolio programs, but part of that has to do with accelerating some
3 of the EV projects that we have in the pipeline which are on the next
4 slide.

5 So our residential LED distribution, and this is just a
6 few of our programs in our portfolio, but this program was intended
7 to cover the city in three years, so do a third of the city every
8 year. We've changed that to hitting, you know, all of the city in
9 a single year.

10 We've got our AC Optimization Program where we actually
11 do direct install for smart thermostats and do a little diagnostic
12 on air conditioners. And I mentioned earlier that we hope to launch
13 a demand response thermostat program next summer, and that will help
14 leverage the deployment that we've already undertaken here.

15 And then we have a couple more programs, in particular,
16 the partnership with the LAUSD, where we have been looking very, very
17 closely at LAUSD, the school district in Los Angeles, and looking
18 for opportunities there.

19 The last thing that I will touch on is electrification
20 targets. And if -- yeah, stay here for just a second. Our council
21 in February asked us to go back and look at electrification targets,
22 specifically for GHG reduction, not necessarily for, you know, rate
23 increase, but for GHG reduction. So that's something that we will
24 be doing.

25 One of the efforts that we have undertaken recently as a

1 partnership with SCE and SMUD on looking at opportunities
2 particularly in the residential sector, and so that will be one of
3 maybe a few different efforts that we undertake in the coming year
4 to help address that request by our council.

5 And so with that I will be happy to answer any of the
6 questions on anything that I've covered. Thank you.

7 CPUC COMMISSIONER RANDOLPH: What's your timing on the
8 electrification study with Edison and SMUD?

9 MR. RONDOU: I don't know. I seem to remember it being
10 near term, but I'd have to go back and check. I want to say that
11 it's probably this calendar year, but I'm not certain.

12 CPUC COMMISSIONER RANDOLPH: Okay. And then I was also
13 wondering if you could just share a little more detail about your
14 local solar programs and how you pull disadvantaged communities into
15 those programs.

16 MR. RONDOU: Yeah. Yeah, thank you for asking. I'd love
17 to actually talk a little bit about that, so. So I have mentioned
18 that we've got our portfolio programs. We have what's called our
19 Solar Incentive Program and that's our program as part of the
20 California Solar Initiative. And so that actually was scheduled to
21 end in 2016. We elected to continue that. We had existing funding
22 available, still in that program, but what we did is we tweaked it
23 a little bit.

24 We have the limitation of where we can't identify
25 disadvantaged communities or Zip codes that might have, you know,

1 a higher concentration of disadvantaged communities or specify that
2 customers on low-income rates would get a higher incentive, but what
3 we can do is look at it from a grid-needs perspective. And we looked
4 at Zip codes and areas of the city that have historically lower solar
5 adoption and we made the case that there is a grid benefit of having
6 a more even distribution of solar in our distribution grid.

7 Now we all know that that's not -- you know, there is a
8 little bit of nuance to it than that. Different parts might be able
9 to accept a little bit more or less, but in the grand scheme of things
10 there is a grid benefit to a more even distribution. And so we used
11 the rationale to have differentiated incentives. And so what we
12 found is the Zip codes that were scheduled to have those
13 differentiated incentives had a very, very significant correlation
14 to disadvantaged communities as defined by the state of California.

15 And so while we are limited in many ways for targeted
16 programs, we are able to look at, you know, what were the results
17 of programs that benefitted sort of the wealthier and middle class
18 customers and how could we address that from a grid-needs
19 perspective. We used the same sort of rationale with our community
20 solar, what we call our Rooftops Program, and that's where we do a
21 direct install. We own that asset, you know, we receive all the
22 energy from that asset, we provide a customer with an annual payment
23 for the ability for us to lease that rooftop.

24 And then, finally, we have what we call our Shared Solar
25 Program which will be deploying local and large-scale renewable --

1 solar renewable projects and allow customers to subscribe to what
2 we're calling blocks of energy. It's just 50 kilowatt hour blocks
3 of energy. And we run into the same challenge there where we can't
4 explicitly target towards low-income rate customers or disadvantaged
5 communities, but what we can do is we can say, you know, we've got
6 portfolio programs that have allowed single-family homes to go solar
7 for a real long time with our Solar Incentive Program that's been
8 around in various forms since 1999, to our Rooftops Program that we
9 just recently launched last year, so those single-family homes have
10 that opportunity already. So what we've been able to do is provide
11 exclusivity for multi-family for our Shared Solar Program. And then
12 we'd like to take that one step further by being very, very aggressive
13 and seeking outside funding to allow us to buy down that subscription
14 rate for low-income customers. If we were able to receive outside
15 funding, that would unlock a little bit of opportunity for us to
16 target certain customer bases as well.

17 CEC CHAIR WEISENMILLER: I first wanted to thank LADWP for
18 adjusting its transmission upgrade schedule last winter. We would
19 like to get to the point that we're not dealing just with our luck
20 and weather. But you know we're certainly not there yet and it's
21 probably going to be worse this year.

22 But one of the things I really wanted to encourage LADWP
23 was to help us build in your plans, and obviously we'll try to work
24 around them, and again there may be times we, you know, say, gee,
25 we just need another month here, or something, so share. But that's

1 going to require flexibility I think on all of our parts going
2 forward, as the courts would -- but I mean I understand it's very
3 important for you to really deal with the transmission upgrades.
4 It's got to be winter and winter is the peak time for gas, so.

5 MR. RONDOU: Right.

6 CEC CHAIR WEISENMILLER: At any rate, we'll certainly work
7 through that.

8 Andrew asked me to really thank you for your push on demand
9 response and on energy efficiency, again realizing that there is a
10 lot -- you know everyone sort of looks at demand response as pretty
11 easy and lots of it. And we have been finding it a real struggle
12 to get any of it. You know, it's just sort of like every megawatt
13 we sort of have to really push every needle we can to get there. So
14 certainly encourage you in trying to understand how we can help or
15 what's working for you that might help us.

16 What percentage of your customers are in DACs, do you know?

17 MR. RONDOU: You know; I don't know that answer.

18 CEC CHAIR WEISENMILLER: You know Edison is like 43
19 percent. That's a really high -- a higher number than I would have
20 guessed, so I'm assuming you have, again, a relatively high number
21 here too.

22 MR. RONDOU: Yeah. I wouldn't be surprised if we were in
23 that ballpark or even beyond that, but, you know, I'm sorry, I don't
24 have that here, yeah.

25 CEC CHAIR WEISENMILLER: That's fine. Yeah, if I could

1 submit it later go ahead --

2 MR. RONDOU: Yeah.

3 CEC CHAIR WEISENMILLER: -- and that would be good.

4 The one thing I was going to encourage you to think of,
5 you know, you have a very aggressive, as you should, ZEV Program.
6 And that's a key part moving forward. We've talked a lot or people
7 talk a lot about how a vehicle good can help us on the grid side.
8 And the reality is on two-way it's like a one project in California
9 is like 44 vehicles, so it's not exactly awesome, but it's like 44
10 times more than anyone else's. So it would be good to actually get
11 some experience of a vehicle to grid, you know, particularly if you
12 could do it in terms of your own facilities, right, your own vehicles,
13 either work crews or trucks, or whatever, to really see how to make
14 that wheel on just not a hypothetical, because this is going to be
15 very important as you look at a hundred percent renewable and other
16 stuff.

17 CPUC COMMISSIONER RANDOLPH: I absolutely agree with you.
18 And from what I understand, I don't have the details we did have some
19 pilot project that we did, but we didn't do anything with the pilot.
20 So dust that back off and look at what we can do to look at vehicle
21 to grid and how we can leverage the storage from both.

22 CEC CHAIR WEISENMILLER: I think they're both one -- I
23 think both one way and two way. But, as I said, it's just an amazing
24 capacity of two-way information.

25 MR. RONDOU: Yeah. And, to add to -- sorry, to add to

1 that, you know we -- I kind of sprinted through it, but we do have
2 a pilot for managed charging. So while that's not vehicle-to-grid,
3 you know you get some of that same dynamic capability.

4 MR. TISOPULOS: You have an impressive energy efficiency
5 gain, 10.4 percent through 10 of 2017, and it looks like you are trying
6 to get up to 15.1 percent within the next three years. How realistic
7 is it?

8 And the second question is: Are you seeing any
9 commensurate benefits to the demand curve or other offsetting
10 parameters that kind of offset that gain?

11 MR. RONDOU: Yeah. So the first part was, you know, is
12 this really achievable. I think that if you asked the question a
13 year ago, it probably would have looked a lot more challenging. But
14 you've seen just, you know, from year 2015-16 to '16-17 a pretty
15 substantial jump. And so, you know, given that we've got sort of
16 the infrastructure of the teams, the trade partners, and all that
17 in place and we've got a whole lot of momentum there, I think that
18 they are probably achievable, but I don't want to understate how
19 difficult and challenging that will be. And, as you can imagine,
20 you know there's diminished returns. As we go beyond 15 it's going
21 to be more challenging, so we're going to have to be creative.

22 The second part of your question was, you know, was that
23 meant for a demand curve. And I don't know that answer, but I can
24 tell you that there has been some talk between our integrated planning
25 -- Integrated Resource Planning Team and our EE Team, asking them

1 to look at more evening-focused energy efficiency.

2 So I don't have the answer on the impacts, but I can tell
3 you that there is going to be a little bit of a refresh on how can
4 we, you know, going forward further target the later peak rather than
5 just kilowatt hours.

6 CEC CHAIR WEISENMILLER: So we ran a little late this
7 morning. At least as of -- so far we have not heard from any
8 legislative officials. So let's come back at one o'clock, a basic
9 morning, as we're going to really start at 1:00. But, you know, try
10 to make up, at least have some catch-up over lunch.

11 (Luncheon recess taken from 12:01 to 1:03 p.m.)

12 MR. BOHAN: Thank you, Chair.

13 Good afternoon, everyone. Again, I'm Drew Bohan,
14 Executive Director of the California Energy Commission. And the
15 panel we have assembled for you this afternoon is to discuss the Fifth
16 Risk Assessment since the 2015 leak of natural gas at Aliso Canyon.

17 The assessment you're going to hear about in some detail
18 was prepared by the Aliso Canyon Technical Assessment Group, which
19 is comprised of staff of each of the agencies assembled here before
20 you, the Energy Commission, Public Utilities Commission, the
21 California Independent System Operator, and LADWP. Also Southern
22 California Gas Company contributed hydraulic modeling to our
23 analysis. And I will let each of my colleagues as they come up in
24 sequence from your right to left introduce themselves.

25 We've got about 30 slides. We're get on have to move

1 quickly, about a minute and a half a slide, but we invite you, since
2 we're going to be slowly to interrupt as we go along. There is a
3 lot of stuff packed into this presentation. And I want to just start
4 by giving you an overview. But we're going to bounce around a little
5 bit between presenters as we go forward.

6 So the purpose of this Fifth Assessment is to do two things
7 primarily. First is to address the risk to electricity reliability
8 given the multiple outages in the natural gas system entering the
9 basin. The second purpose is to identify and discuss mitigation
10 measures we can employ to try to reduce that risk.

11 Long-term operational issues are being handled in other
12 forums. So specifically we won't be getting into these today in any
13 detail, but we are looking at the feasibility of minimizing or
14 altogether eliminating the use of Aliso Canyon storage. We are
15 following through on a plan to phase out Aliso Canyon within ten
16 years, as requested by Governor Brown, and other recommendations such
17 as the Energy Commission and CPUC joint request for a moratorium on
18 commercial and industrial natural-gas hookups in the LA area that
19 are served by Aliso Canyon.

20 So the way we have structured this analysis is to look at
21 the risk to electricity reliability in a situation that is a 1-in-10,
22 a summer-peak day. So we may hit one this summer, we may not, but
23 we're planning as though we will, and all the numbers you will see
24 are calculated on that basis.

25 We are looking at also at the minimum generation required

1 to keep the system running in the basin. You will hear a lot of us
2 referring to min gen. That's what that refers to. It's not a
3 target, it's not a goal. In fact, we really want to avoid it, but
4 it is a number that planners can use and regulators can use as a target
5 to make sure we keep energy -- electricity production above that
6 level.

7 The full summer assessment, for you on the dias and anyone
8 in the audience who are listening, is posted on the link you see up
9 there at the bottom of slide 2. And we're asking the public comments
10 be submitted to us by May 22nd so we can take those comments, we look
11 at them all, take them all seriously, and evaluate them and then be
12 able to respond appropriately.

13 Push to the next slide here.

14 The assessment you're going to hear about today covers
15 multiple topics related to energy reliability in Southern
16 California. You've heard about others earlier in the day. A few
17 of the ones we want to highlight for you this afternoon are: First,
18 a status report on the Southern California gas system and the pipeline
19 outages we have been experiencing and the success we have had in
20 remediating those. We also want to look at how we manage to largely
21 avoid gas curtailments this past winter with a preliminary analysis
22 of the one curtailment event that did occur between February 19th
23 and March 6th of this year. There was a significant cold event in
24 Southern California and the Aliso Canyon storage facility was used
25 for 5 of those 14 days during which the curtailment took place.

1 We're also going to highlight the hydraulic modeling
2 cases. So we looked at different cases that contemplate different
3 amounts of gas being available in the system, and we want to go through
4 that, again looking at what more or less gas means in a 1-in-10 type
5 peak situation we might be facing.

6 We also want to preview gas balances into December, being
7 able to look at how summer decisions might affect storage inventory
8 levels in the coming winter. And what we do in the summer,
9 particularly in the late summer in terms of whether we're going to
10 fill up storage or utilize the gas that's in storage will have a big
11 impact then in the winter season. So this report's focused really
12 on summer, but we are also looking at as we get towards winter.

13 And then, finally, we're going to go over some potential
14 additional mitigation measures in addition to the ones we've employed
15 in the last few years and look at how those in the last few years
16 have performed.

17 This slide view is really busy, and we're not going to walk
18 through. We put it up front there because this has really the main
19 numbers that you're going to hear about throughout the presentation,
20 so I want to call your attention just to a couple of them. So if
21 you look at the very top line, the upper left number, 3,511, that's
22 3511 million cubic feet a day -- or 3.5 billion cubic feet a day,
23 that is the demand associated with the 1-in-10 peak day. That's how
24 much gas we're going to need to avoid having to go to min gen on a
25 peak day.

1 If you drop down -- one, two, three -- four lines you see
2 3,555. That is the amount of gas that the system can supply. So
3 in that simple case of a 1-in-10, we've got, if you look at the very
4 next line, 44 million cubic feet a day of gas above which we need
5 to satisfy demand. So again 3511 at the top, 3555 several lines down,
6 and the delta between those is 44. So in that simple situation, we're
7 okay.

8 These two columns, however, represent two different
9 situations. The first that we've been focusing on just now is the
10 base case and the second is a sensitivity analysis where we
11 contemplate additional outages on the natural gas system. There I
12 might go through a couple numbers just to match what we talked about
13 or I just mentioned on the base case. So, again, the demand is going
14 to be the same. At a peak 1-in-10 day the demand is 3,511 million
15 cubic feet per day.

16 If you then drop down several lines, you get to 3425.
17 That's the amount of gas that would be available to the system on
18 that day. And the very next number in red is minus 85. It's rounded
19 it could be minus 85 or minus 86. So in that situation we're actually
20 looking at being below, having insufficient gas to support the demand
21 within the basin.

22 The line below that is the last one I want to touch on.
23 And the left-hand column is 441 and the right is 311. What that
24 represents is if we drop down to min gen, so this is standard operating
25 conditions, what I talked about to this point, if we then have to

1 drop the system down to min gen, and you'll hear from others about
2 the negative consequences of having to do that, but if we do that
3 we end up being in a position where we're still able to satisfy
4 electricity demand in the basin.

5 However, you note the footnote at the bottom, this is all
6 contemplating two things: One, no Aliso; but, two, it's
7 contemplating that we're getting all the transmission of electricity
8 into the basin that we need. And if that drops from a hundred percent
9 to something lower, the footnote suggests there with the asterisk
10 that if we get below 90, somewhere between 85 to 90 percent of the
11 electricity imports to make up for the shortfall in production within
12 the basin, then we get into a problem where even with the min gen
13 situation, we don't have resources to satisfy demand in the basin.
14 So that's just an overview of those numbers. Again, you will hear
15 a lot more about those in the presentation, but the just a quick
16 overview. Okay.

17 MR. RANDOLPH: And I will take it from here. Thank you,
18 Drew.

19 I'm Edward Randolph, Director of the Energy Division at
20 the California Public Utilities Commission. In starting out in my
21 part of the presentation, I wanted to start out setting the stage
22 a little bit. It's been a couple years since the leak at Aliso and
23 going through these technical assessments for the summer and the
24 winter. And, quite frankly, it seems like every time we go around,
25 the reliability issue is either staying the same or seemingly getting

1 a little bit more concerning out there, and why is that.

2 You know there's two parts to it. There's what's in the
3 storage. The other part of running of the system is the pipelines
4 in bringing gas into California. Since last year there have been
5 a number of issues with the actual bulk transmission system for the
6 natural gas system. Starting in October of last year, Line 235-2
7 ruptured. And that rupture also started a fire that also burned a
8 section of Line 4000, so two major pipelines bringing gas into
9 California.

10 The rupture led to new concerns about Line 4000, so
11 SoCalGas initially took the line out of service completely and then
12 returned it to partial service at reduced pressure in December. That
13 pipeline still continues to operate at that reduced pressure while
14 they, SoCalGas conducts what's pigging, inspections of the pipeline
15 and pipeline integrity there. There is no estimated date at this
16 point for the return of service to 235-2 while they continue to --
17 or, you know, while they are doing the root cause analysis on that.
18 Well, obviously ultimately need to repair the ruptured part.

19 Line 3000 -- I will have a map on the next slide that shows
20 where all these are -- is also out of service and Line 2000 is at
21 reduced capacity. On each of these there has either been no listed
22 return date for the pipelines on Envoy, on the public website that
23 lets folks know what are going on on the pipelines, or for one that
24 have had return dates. They have been pushed out repeatedly on the
25 expected return dates.

1 Here is a map, it's a little small, detail in here where
2 all the lines are. Do I have a laser that works? No. It shows where
3 the lines are. If you follow the -- there is a blue purplish line
4 up there that almost seemingly divides Northern California from
5 Southern California, if you go a little bit below that, the two red
6 lines that run initial -- well, below that, once you get a little
7 bit west, those are Line 235 and Line 4000 coming in. Going out
8 towards the Arizona border, you will see Line 4000 which is one of
9 the lines out of service. And then if you go down into further south,
10 you will see where Line 2000 is on that map. So that gives you some
11 context where each one of those major pipelines are bringing gas into
12 service and their reduced service.

13 For these pipelines coming in, the reduced service you know
14 impacts and reduces potential inflow to both the Northern Zone and
15 into the Southern system, so impacting both areas of the state.

16 So with -- you know, starting with the outage at Aliso but
17 then continuing with some of these additional outages there has been
18 an extremely high level of interagency cooperation to mitigate these
19 measures and manage demand. That includes planning for OFOs which
20 were frequently used last year. OFOs are Operational Flow Orders.
21 Those are instances where the noncore customers, when those are put
22 into place, are required to much more closely balance their actual
23 demand, their actual use in the region with what they bring in there.
24 Increased notices, watches, and alerts when necessary to the users.
25 And all of this up until February of last year led to only two days,

1 or resulted in only two days of having to curtail electric generation
2 in order to help balance the gas system out there.

3 And then, you know, lastly in there, in the work between
4 all the agencies there is this constant monitoring and work between
5 SoCalGas, the ISO, and LADWP to shift generation and use imports.
6 So, again, this is focused on that, reducing the electric demand which
7 has the -- you know in summertime has the biggest impact on the gas
8 demand out there.

9 And then I think, Katie, it's over to you.

10 MS. ELDER: Alrighty.

11 MR. RANDOLPH: Yeah.

12 MS. ELDER: I got the button pushed and there we go, all
13 right. So I'm Catherine Elder with Aspen Environmental Group. I
14 am privileged to get to work with the staff at the Energy Commission
15 and have been working with them on these issues for a couple of years
16 now.

17 We wanted to share with you what demand actually looked
18 like for the past two summers. And this graph is actually in our
19 report. There is also a graph in our report that will show you what
20 the past three winters have looked like as well.

21 What we wanted to emphasize, how really -- how demand over
22 the last two years that we have been able to avoid significant
23 problems arising out of our situation with Aliso has been because
24 demand has been lower than really it was expected to be. We show
25 the red line is about 3.2 BcF, or 3200 MMcf. That's our stress

1 threshold, where we get worried about the system and start calling
2 each other and saying what are you seeing, what are you seeing, how
3 do we fix this, how do we fix that, how are we going to make it through
4 or not. Those calls really happen.

5 And you can see that for these last two summers, both 2016
6 and 2017, there aren't very many days that go above that red
7 threshold. There are more in 2017 than there were in 2016, though,
8 and we wanted to draw that to your attention.

9 We also drew in the blue line, which is hard to see on the
10 screen here because of the way the screen is -- the screens are pasted
11 together up there, but up here where it says 2016 supported demand,
12 I'm trying to point at it -- there we go -- it's not working when
13 I point to the screen, never mind.

14 That should say 2017. That's a typo and that's entirely
15 my doing so I apologize for that. But there is a blue line right
16 across there at 3638 MMcf, and that's our supported demand figure
17 that came out of the hydraulic modeling.

18 If you wanted to compare those demand to forecast demand
19 for a month in a normal year, 2578 MMcf per day is about the average
20 day forecast for September, and 2420 is the average day forecast for
21 August. So you can see how many days exceed those levels and how
22 many days are below those levels.

23 Now I've got to hit the other button because this button
24 doesn't work. There we go.

25 Now things changed. We got through the winter -- I should

1 back up for a moment. As we begin to think about a winter assessment,
2 we thought there's not very much to say. And we were actually very
3 close to being done with our winter assessment when October 1st rolled
4 around and Line 235-2 ruptured. And that caused us to go back and
5 rerun the numbers and think about what the implications of that were.
6 And in late November we were able to put out a supplemental assessment
7 that estimated or told people that we thought that there were going
8 to be significant gas curtailments in December and January in order
9 to try to preserve inventory to protect core customers from an extreme
10 peak day event that could occur in late December, usually December
11 or in January is the typical timing of that.

12 So we really thought -- if I had had 20 bucks and I had
13 to bet I would have bet that there would be curtailments in December
14 and January, no question about it, but that didn't happen. And the
15 reason that didn't happen is what you see in the little table over
16 there on the right which depicts the number of days in each of the
17 past three winters that demand was over 3.2 BcF, which again was our
18 stress threshold, and the number of days that it was over 4 BcF. And
19 what you can see is that winter 2017 only had 14 stress days and zero
20 days above 4 BcF. So we really lucked out with the weather in January
21 -- in December and January.

22 That changed President's Day weekend. And that weekend
23 some cold weather started that was really much more akin to the kind
24 of cold that we would have expected around the holiday period, the
25 January 1st Christmas holiday period, rather. And that kind of cold

1 resulted in demands, the days of demand were above the 3.2 BcF in
2 the winter of 2017. Not all but most of those days were during that
3 period, that 14-day period in February and March, going into March.

4 SoCalGas called the ISO and LADWP and asked them to reduce
5 their gas burn. That amounts to a curtailment. That is a
6 curtailment of gas service to electric generators. They were able
7 to replace that generation by bringing in and importing more
8 electricity and by shifting generation to plants that were not served
9 by SoCalGas. There is a cost to that, and later on we'll see more
10 about that.

11 During six days, or five days, I'm not sure now if it's
12 five or six, there were a few hours on that many days where SoCalGas
13 also had to withdraw gas from Aliso. So what's significant here is
14 where we had been thinking that Aliso, withdrawing from Aliso would
15 prevent us having to curtail the powerplants, in fact we had to do
16 both, SoCalGas had to do both. They withdrew gas from Aliso and
17 curtailed the powerplants during that cold spell, during that cold
18 period.

19 During that period, about 10 BcF was withdrawn from
20 storage, and you can see that now on the right-hand side in that little
21 storage inventory table. We had inventory of about 64 BcF on January
22 1st, which none of us expected that we would have on January 1st,
23 I might add. And on February 18th we still had most of it. We had
24 57.4 still in the ground.

25 Then that cold period hits and we take out 10 BcF. Now

1 10 BcF, all else equal, wouldn't be that concerning but for the fact
2 that most of that, because some of that gas is at Aliso where we're
3 using it as an asset of last resort, that causes changes to which
4 gas gets withdrawn when. And as the inventory drops, 10 BcF is enough
5 of a change in the inventory to change the amount that we can withdraw
6 on any given day. And so that began to be of concern.

7 I should tell you that there is a similar graph to the graph
8 I had on the prior page. We have that in the report with the winter
9 data. It's at page 10 of the detailed report. Figure 2 will show
10 you that.

11 And the only thing I wanted to add to that was that would
12 all be irrelevant if we didn't have the pipeline outages.

13 I'm going to turn this back to Ed.

14 MR. RANDOLPH: Thank you, Katie.

15 Yeah, so as Katie mentioned during that cold snap there
16 were several days where they had to withdraw gas out of Aliso while
17 at the same time they were curtailing gas to electric generators.
18 You know, again since the original leak at Aliso Canyon and the
19 protocol put in place on how to use Aliso, there have only been six
20 days in which gas was withdrawn from Aliso, four of them during that
21 cold spell at the end of February, going into March there.

22 We have started -- joint agencies have started a process
23 of analyzing how the system was operated during that cold snap to
24 look to, A, ensure that SoCalGas did operate the system consistent
25 with withdrawal protocols, but also to glean any lessons learned on

1 ways to improve operation of the system going forward. That is
2 ongoing and will -- because it will more affect the next winter
3 assessment, you know, we will focus on getting the summer assessment
4 done first. However, there are some preliminary results that we've
5 seen in there.

6 Key in there is that the preliminary review shows that
7 system receipts were consistently less than system demand. that's
8 both on a daily and an hourly basis. The public can see on the
9 websites the daily flows. The hourly flows are confidential, and
10 we often try to explain to folks that because you're managing for
11 a peak few hours in the day, the daily flows may not show the full
12 picture. But we have seen and are concerned that at no time was the
13 system operated to its full capacity under the analysis we have seen
14 so far.

15 There are zero hours in which to receive point capacity,
16 and so gas system was fully utilized. Yeah, and again as I said,
17 we'll have a more detailed report coming out later in the year.

18 And, additionally, LADWP and the ISO are both assessing
19 the cost impact on electric users. And the CPUC report updates will
20 take this into account as we do the winter -- look at winter -- you
21 know, sorry. I phrased that poorly. But we will look in this as
22 we look at the technical assessments for winter 2018-19 and any needed
23 revisions to the 715 report and to withdrawal protocols.

24 I just mention that the two balancing authorities, LADWP
25 and CalISO, are doing some analysis on price impacts on electric

1 generation. We have done what is somewhat of a rough impact on prices
2 on gas. And, you know, this chart shows that as a comparison if you
3 look at the bottom two lines on this -- I see the key to this has
4 somehow dropped off the slide, but the bottom two lines to this show
5 what -- oh, they're on the top there -- what are PG&E's Citygate price,
6 so prices paid for wholesale gas into the PG&E service territory.
7 That's the blue line.

8 The red line is prices paid at the SoCal border. And then
9 that green line is the Citygate price for SoCalGas. So what is paid
10 wholesale for both core and noncore customers on those days, coming
11 into that restricted region within SoCalGas's service territory.
12 And you can see that despite the fact that that cold spell was fairly
13 statewide, in demand for natural gas, and Northern California also
14 went up fairly significantly in those days, the PG&E and the noncore
15 customers in Northern California were able to manage gas supplies
16 by withdrawing from storage to mitigate against any increases at the
17 Citygate and then also consequently keep those prices low relative
18 to Southern California that was almost exclusively dependent on that
19 gas coming in, and the limited ability to bring it in did
20 significantly increase prices.

21 And then now, Katie, it's back to you.

22 MS. ELDER: Okay. So we're going to go into some more
23 detail now. And two pages later I'm going to torture you with rows
24 that have lots of numbers. So bear with me.

25 Overall we do have a little bit of good news that we're

1 very pleased to be able to share, and that's that the gas requirement
2 when the powerplants go to min gen if they have to go to min gen on
3 a 1-in-10 peak day, electricity peak day I should say, that is
4 actually lower this year than it was last year. So that's good news.

5 And if everything else had been -- had remained equal, we'd
6 probably not be having a workshop today. We'd just have happy news
7 that we were in better shape than we were a year ago, but that's not
8 true. and the bad news is that we've got these pipeline outages and
9 we're going to talk a little bit more in a minute about the magnitude
10 of what that does to our operating capacity and ability to serve
11 demand.

12 There are some physical system mitigation measures that
13 SoCalGas can apply to those pipeline outages. And they -- around
14 -- there's a lot of uncertainty around which of those will actually
15 work and how much they will get us. So that's sort of bad news.

16 And the end result is that the supported demand, in other
17 words, the level of demand that the SoCalGas system, using its
18 pipeline capacity and its storage, is lower this year than it was
19 last year. So that's also a bad outcome.

20 The end result is that we think that they will have to use
21 storage more frequently to meet that supported demand number. There
22 are more hours in which they will have to pull gas from storage in
23 order to achieve the estimated supported demand bubble.

24 As Drew mentioned earlier in the summary piece, it's not
25 possible to meet the 1-in-10 electricity peak day on an N-1 -- with

1 an N-1 contingency event without using gas from storage. You
2 absolutely have to use gas from storage in order to achieve that level
3 of demand.

4 There are some sensitivity cases with more outages,
5 including sensitivity on the electricity side where we don't think
6 we would have enough gas to even meet all of the min gen at an N-1
7 level, and those cases are plausible. Those cases could actually
8 occur. We think that SoCalGas is likely to have to call operational
9 flow orders more often than last summer because of the supported
10 demand issue and because they will have to use gas from storage more
11 frequently, and that having to use gas from storage more frequently
12 puts the filling of gas for storage for winter in jeopardy. It's
13 not a case in certainty about what the actual inventory is that would
14 be achieved going into the winter.

15 And I can't hit the right button, so Ed is going to hit
16 the button for me because I may be a racecar driver, but I can't
17 operate the equipment, so there you go.

18 The outages really have significantly impaired SoCalGas's
19 system. There is somewhere between 255 and 860 a day out of service
20 versus last summer. And that -- and I say we have given that range
21 because it depends on exactly which outages stay in place and it
22 depends on which physical mitigation, system mitigation steps
23 actually work. And I'm going to go into more detail about those in
24 just the next page.

25 As I mentioned, that reduces supported demand. And in the

1 base case, supported demand is 83 a day MMcf per day lower than it
2 was last summer. In the sensitivity case, it's 213 MMcf per day
3 lower, and that's despite min gen being lower by almost 300 MMcf per
4 day. So there you can see why if all else had remained the same but
5 min gen had dropped, we'd be in better shape.

6 Overall there is about half a BcF per day, or 500 MMcf per
7 day, of pipeline capacity that's missing, depending on which case
8 we're looking at. And we can be better off around that number,
9 depending on which of the system mitigation measures work and which
10 of these additional -- potential additional outages come to fruition,
11 and what gets fixed on the system.

12 So we could go to the -- yeah, the first of this awful page
13 with all the numbers.

14 I promised to walk you through sort of the range, what I
15 keep talking about this range of how much pipeline capacity is
16 available. And what we've shown here on this slide is where we were
17 last summer in terms of available pipeline capacity. And there was
18 a total of 3185 MMcf per day and you see that over on the lower left
19 and it's in red, to highlight it for you. So that's what we had last
20 year. And then supported demand was higher than that because
21 supported demand included pulling some gas from storage. That's
22 essentially the difference between pipeline capacity and supported
23 demand. It's how much gas you used from storage.

24 As of May 1st, the pipeline capacity that we had available
25 or SoCalGas had available was 2.65 BcF per day or 2655 MMcf per day.

1 So you can see that's about 500 a day lower than we were last summer.

2 We have a case for this summer where Lana Wong and I got
3 very pessimistic and we got down to 2325 MMcf per day. And the issue
4 there is what was really -- was Line 4000 come back or not or does
5 Line 4000 go away or not, rather I should say, and what happens at
6 Kramer Junction and what happens at Otay Mesa. Those are really the
7 three big variables here. North Needles, Kramer, and Otay Mesa.
8 And those are the key differences as you look across the columns on
9 these slides.

10 On a more optimistic case where we saw Line 4000 staying
11 available, where we got more gas at Kramer Junction and we got some
12 gas delivered at Otay Mesa, a certain of 230 day there, we got up
13 to 2930 MMcf per day. And that case made us a little bit happier,
14 shall I say.

15 We settled on a combined case where we have Line 4000 going
16 out, we've got some additional gas at Kramer, we've got some
17 additional gas at Otay Mesa, but we have a reduction on the line that
18 comes in from Ehrenberg and Blythe, and that gets us down to 2480
19 MMcf per day. So that gives you a sense of how we constructed these
20 ranges and what the key variables are on the system.

21 Next slide. So we asked SoCalGas, having these in mind,
22 and these do translate later into some gas balance scenarios that
23 we'll talk about in a bit, we asked SoCalGas to run two hydraulic
24 scenarios for us. They also did a couple of hydraulic scenarios.
25 The differences between what they have done and with we have done

1 go to exactly which capacity goes out and which mitigations work.
2 SoCalGas also discounts their pipeline capacity by 15 percent, and
3 we were not showing that discount so that you can get a sense of what
4 the full system should be able to do. And we have to have a mitigation
5 measure trying to make sure that the whole system gets used.

6 Here you can see where we were, again the left-hand two
7 columns showing you where we were last summer. And you can see our
8 supported demand in red near the bottom, 3638 MMcf per day. The base
9 case assumptions, we have listed all of the assumptions for both our
10 base case, what we call our base case, and the sensitivity case, give
11 you a supported demand of 3555 MMcf per day, and in the sensitivity
12 case 3425 MMcf per day. And that's how capacity -- this just gives
13 you a sense or shows you how pipeline capacity translates into a
14 supported demand.

15 There is a row -- and I'm trying to eyeball it and I'm not
16 seeing it, which means that I'm going to cover it in a different slide.
17 Ha-ha. It's on the next one.

18 I mentioned that this supported demand number versus the
19 pipeline capacity is a difference as to how much gas gets used from
20 storage. And this page is intended to draw that out and demonstrate
21 that for you, make it easier to see. I mean, in essence, any time
22 demand is higher than pipeline capacity you've got to use gas from
23 storage. That's the only way you're going to serve that demand.

24 Last summer the hydraulic analysis shows using 468 MMcf
25 per day from storage. This summer it uses 900 a day MMcf per day

1 from storage. It's not because the concept of the storage is
2 different. It's really that this summer the hydraulic analysis has
3 to use the gas from storage in more hours of the day than it did last
4 year. So it's pulling it out, I believe, at the same rate as last
5 summer, but doing that for more hours gives you the 900 instead of
6 the 468 MMcf per day. So this is how the way in which SoCalGas ends
7 up having to use more gas from storage to achieve that supported
8 demand level and that of course gives us worries about the field
9 inventories, what's actually achievable, how many high-demand days
10 do you have. I know we showed you the slide earlier that showed you
11 exactly how many high-demand days we had last summer and how many
12 high-demand days we had the previous summer, so you get that sense
13 of luck about the weather.

14 And this also leads us to worry more about, as I've
15 mentioned before, more OFOs, both high and low, trying to keep in
16 balance while we use this amount of storage.

17 And with that, I'm going to turn to Dennis.

18 MR. PETERS: Hey. Good afternoon. Dennis Peters with
19 the California ISO. And I'm going to cover the next two slides here.

20 This first one we're going to go into a little bit of detail
21 about the minimum generation requirement that everyone's been
22 talking about. So, essentially, the ISO and LADWP, as the two
23 relevant BAs for the greater LA area in Southern California, work
24 together to update our analysis to determine how much natural gas
25 the powerplants would need to maintain system reliability under both

1 normal and unexpected contingency conditions. So this calculated
2 minimum gas burn of 1574 million cubic feet per day, it's
3 significantly lower than what would be required under normal
4 conditions. So under a 1-in-10 electric peak, the requirement is
5 about 400 million cubic feet more, or about 1971 million cubic feet
6 per day.

7 And I think the important thing to note here when we're
8 talking about this minimum generation is that we don't calculate this
9 to with a plan for SoCalGas to curtail electric generation but rather
10 it's so that SoCalGas, we as the BAs, the balancing authorities of
11 LA, LADWP, and ISO, as well as regulatory agencies, can have -- to
12 know how large of a cut and the system can sustain before electric
13 reliability is jeopardized. So the implied reduction in gas from
14 normal to minimum generation levels is effectively a curtailment of
15 gas service to electric generations.

16 So how do we do that, how do we get down to a minimum
17 generation when electric generation is curtailed. So, first, moving
18 to min gen is not easy or desirable. You know it means shifting
19 generation to less desirable and less economic sources. And it's
20 done a little bit differently for the ISO versus LADWP. For the ISO,
21 since we do have other units outside of the Los Angeles area, the
22 LA Basin, we can shift to those other generating units by using --
23 putting a constraint in our market. For LADWP, since they are
24 limited to the powerplants within their balancing authority, they're
25 required to then go to external sources for imports.

1 So we didn't in this analysis get into any of the financial
2 or environmental impacts of operating electric generation in these
3 nonefficient, noneconomic ways. But certainly there is an impact
4 to the cost of electricity, and we didn't attempt to quantify it in
5 this analysis.

6 So in terms of achieving this minimum gas burn, so since
7 most of the replacement energy would have to be imported into the
8 area, either for the ISO from powerplants outside the LA Basin or
9 for LADWP looking for imports from other entities, you know we're
10 limited then by a couple of things. So the electric transmission
11 lines. There is an assumption in the study that they're all
12 operating, all lines and service, with a hundred percent of the
13 potential capacity for import utilization. Also an assumption that
14 any replacement units outside of the SoCalGas area would have access
15 to gas as well.

16 So the calculation. As I mentioned, LADWP and the ISO did
17 this analysis. Some of the key assumptions in that analysis, to just
18 touch on what we assumed with regard to load forecast, with regards
19 to imports into Southern California, as well as outages that we
20 considered. So, first, the load forecast in the analysis, we assumed
21 a 1-in-10 peak summer demand for Southern California Edison, for San
22 Diego Gas & Electric, and LADWP. For the imports into Southern
23 California, and this is important, and I will get into more details
24 about the analysis at different levels, but we assumed a hundred
25 percent of the total available transmission capacity in this

1 analysis. So that was over 18,000 megawatts of import capability,
2 and that is higher than the approximate 15,000 megawatts that we've
3 ever seen historically as imports into Southern California. And
4 that's important. I will get into that more in the next slide.

5 With regard to outages. So where our analysis reflects
6 an N-1 contingency event that results in a combined loss of about
7 2837 megawatts for LADWP and the ISO. That's essentially the loss
8 of the Pacific DC Intertie.

9 So then we get to the results here. So the 1574 is actually
10 two components. As I mentioned, that we did the analysis to look
11 at both normal and what the required burn would be under an unexpected
12 contingency event, this N-1. In the normal gas burn, that's what
13 we need to support reliability under normal conditions. That's 1446
14 million cubic feet per day. We just want to mention that it also
15 includes all the gas required by QFs, which account for about ten
16 percent of that minimum burn. And that sort of splits into 313
17 million cubic feet per day for LADWP, 1133 for the ISO.

18 The minimum burn for LADWP went up slightly since last
19 year, primarily due to increase in load over last year. For the ISO,
20 our numbers went down probably about 300 million cubic feet per day.
21 And that's primarily due to two things. One is some of the
22 transmission upgrades that we'll talk about later in the presentation
23 that have improved the ability to import into the area; as well as
24 the way we did the analysis, we considered -- we used emergency
25 ratings for the lines in the analysis this year versus last year.

1 So then the second part of the analysis was then how much
2 gas we needed to recover from this N-1 contingency and that being
3 the loss of the Pacific DC Intertie, and that equates to approximately
4 128 million cubic feet per day. So if you take the normal 1446,
5 normal operations, plus the 128 for the contingency, you end up with
6 this 1574 million cubic feet per day minimum gen requirement.

7 And I will go to the next slide. So we'll talk a little
8 bit here about how we meet the 1-in-10 demand when we reduce down
9 to minimum generation. So we already said that the supported demand
10 is lower in terms of the gas system, but then electric gen minimum
11 generation is also lower.

12 So of course the consequence of going to min gen, we already
13 talked about that, is it results in increased costs to serve electric
14 load. And we have these assumptions that it's only feasible when
15 we actually have external supplies available and a hundred percent
16 of the electric transmission is available and used.

17 So we look at this table here, and I think Drew covered
18 a little bit of this so we won't go into a lot of detail, but
19 essentially in both the base case and sensitivity, the gas system
20 supported demand without using Aliso Canyon is, you know, sufficient
21 if the powerplants are cut to minimum generation levels. So in the
22 base case, you can see down at the bottom that supported demand shows
23 441 million cubic feet per day still available in the gas system after
24 we move to minimum generation. In the sensitivity case, that surplus
25 is smaller, at 311 million cubic feet per day.

1 So then, if you recall, I said that the study we did that
2 resulted in these numbers and what the minimum gen would be was based
3 upon a hundred percent import utilization. So if we start to look
4 then at, you know, more realistic levels of transmission imports,
5 we look at, for example, 90 percent utilization, which is about 16, -,
6 almost 17,000 megawatts import, down from the 18,000 available
7 capacity, that surplus of 311 in the sensitivity case then shrinks
8 to just a surplus of 34 million cubic feet per day.

9 If we go down to an 85-percent transmission capacity
10 utilization, then we are actually in a deficit of 67 million cubic
11 feet per day. So you can see we can't meet this 1-in-10 demand, but
12 there are a lot of ifs in this equation and there is actually a cost
13 too.

14 So, with that, I'm going to turn it back over to Katie.

15 MS. ELDER: Me, yeah.

16 MR. ROTHLEDER: Dennis, if you could, -- this is Mark
17 Rothleder -- if you got into the deficit, what are the options at
18 that point? What would occur?

19 MR. PETERS: Yeah. So if the resupply options had been
20 exhausted and you would need potentially to get additional gas from
21 other sources, including Aliso Canyon, or electric load shed would
22 be required.

23 MS. ELDER: So if we're ready we can go to the next -- oh,
24 there it is. Thank you.

25 We did -- we prepared a number, I mean seven, a number of

1 different gas balance simulation cases. We were trying to get a
2 handle on what kind of storage inventory we might be looking at for
3 next winter, having come through this past winter relatively
4 unscathed but recognizing that it was, you know, white knuckle for
5 a good part of the winter, both going into December, when we were
6 just certain that we were going to have problems in late
7 December-January; and then white knuckles again when the cold snap
8 occurred in late February. So we want to take a hard look at what
9 these cases implied or what these different outage scenarios and the
10 potential physical mitigation measures for the gas system, what those
11 might result in.

12 So on this page what you see is a table with lots of numbers
13 again, but I'm going to try to show you that they're pretty simple.
14 We have done -- they're A through D. And Case A is current
15 conditions. And that included our pipeline capacity of 2655 MMcf
16 per day. And in the gas balance, when a gas balance is just taking
17 supply versus demand and looking at what the delta is, do you have
18 some headroom, do you have supply and capacity in excess of demand
19 so that you can make sure you can serve all demand. That's all it
20 is.

21 And the ability that it gives us or the extra ability it
22 gives us is to look at injections for a month and withdrawals for
23 a month and keep track of what the resulting storage inventory would
24 be. So the tables that go behind each of these cases that are
25 summarized on this page are in the report so that you can look at

1 them individually.

2 The reserve margin in Case A turns out to range between
3 0 and 10 percent. In previous years where we've done this, previous
4 gas balance analyses, I would have liked to target kind of a 15 percent
5 reserve margin, which is that there is no real magic about 15 percent.
6 It's just 15 percent makes me comfortable that when a peak day happens
7 and the delta between weekend and weekday happens, that 15 percent
8 gives room for that to happen. Fifteen percent gives you a little
9 room for some other things to go haywire in the system and still be
10 okay.

11 Remember that the demand numbers that are shown for each
12 month in the detailed gas balances are average demand for that month.
13 They're not an actual day, they're just averaged over the entire
14 month. So in winter month, like a December month, they might be a
15 little bit understated. There are other months where they might be
16 a little bit overstated, given the typical day in that particular
17 month. So they're an average.

18 So on average we ended up with reserve margins that were
19 pretty poor, most of them relatively close to zero. And at the end
20 of the year, we had 50 -- end of the year I mean December 31st --
21 we showed 54 BcF in storage.

22 Now just to give you a perspective, if I do a gas balance
23 that has no outages, so we go back to a case like we would have showed
24 you last summer, and run gas supply in and out of storage, I would
25 have ended up with about 60 BcF or 59 BcF in storage at the end of

1 the year. So in this particular case, we were just a little bit under
2 where we would have been if we had all of the pipeline capacity
3 working.

4 Now we're of course worried, as we told you earlier, that
5 these current conditions on the pipeline are not going to hold, that
6 there may be some additional outages that happen later in the summer.
7 And so we have also looked at additional outages case, that's Case
8 B. And before I go to that I should mention that we did an A.30,
9 which was current conditions. We looked at could we get 30 BcF in
10 at Aliso, because SoCalGas has requested the opportunity to increase
11 the inventory there. We weren't sure at first if that was even
12 achievable, so we confirmed it. And, in fact, if that were to happen,
13 then we could get 59 BcF in by the end of the year and still have
14 75 during the summer and still be at 59 at the end of the year.

15 In Case B we added some additional outages. That gave us
16 a pipeline capacity of 2325. There -- our reserve margins are
17 incredibly poor. They're all between zero and two. We ended up with
18 gas in storage at the end of December at 30 BcF, which would be much
19 lower than what we had even beginning on February 18th of this year.

20 Case C looked at current conditions but with some
21 additional mitigation measures on the system, which means basically
22 making sure that you get 230 a day to show up Otay Mesa every day,
23 getting some of that additional gas available at Kramer Junction,
24 etc. And in that case we have pipeline capacity of 2930 MMcf per
25 day. The reserve margins are actually pretty high in some months.

1 There are also months in which they're zero, which means you're just
2 running by the skin of your teeth. And in that case we were able
3 to achieve storage inventory of 75 BcF in July and we still had 67
4 of it in December, at the end of the year.

5 In Case D we looked at some additional outages and with
6 mitigation for -- system mitigation at Otay Mesa and Kramer Junction
7 and so forth. That gave us the storage inventory -- I'm sorry. I
8 just said the wrong thing. That gave us pipeline capacity of 2480
9 MMcf per day. The reserve margins range from 0 to 11. We would only
10 end up with 70 BcF in storage, that would happen in July, and 43 BcF
11 at the end of the year left in storage.

12 Case D.30 looked at those additional outages but system
13 mitigation but also tested going to 30 BcF at Aliso. The rough
14 difference between those two cases is that at the end of the year
15 in one of them you end up with 43 BcF and the other you end up with
16 48. That's the basic difference.

17 We also did a case that said, well, let's -- call D.Max,
18 where we had the additional outages, we did some system mitigation,
19 and then we used every single bit of pipeline capacity that was left
20 in our balance to inject more gas in storage. We wanted to see what's
21 the absolute maximum that we could get in there if everything worked
22 just right. That turned out to be 96 BcF in August, and then you
23 end up withdrawing some gas in September and October and December,
24 and you end up at 69 BcF at the end of the year.

25 So that gives you a sense of the range of year-end storage

1 inventory, and that's the column I'd really focus on there, the
2 pipeline capacity, in that third column that says September capacity
3 versus what we end up with in storage at the end of the year.

4 And, with that, I'm going to go back to Ed.

5 MR. RANDOLPH: All right. So what do we do? The action,
6 the technical assessment also includes recommendations to update to
7 the action plan. Since we started doing these technical
8 assessments, the joint agencies have proposed action plans in each
9 one of those.

10 Over time that's developed into 39 mitigation measures
11 unaccumulated in the prior action plans. Most of those measures,
12 the impact of those continue forward either to measure themselves,
13 continues going forward or the gas or electric savings that resulted
14 from those measures are a permanent savings. So we see those going
15 forward.

16 We're suggesting five new measures for the summer of 2018.
17 One is get 230 million cubic feet a day for gas flow in through Otay
18 Mesa using LNG. The second is to fully utilize pipeline capacity
19 by allowing SoCalGas to buy gas. A little clarification on this.
20 As the system operator, pipeline operator, SoCalGas does not directly
21 buy gas. For the noncore customers, they buy it for their own need.
22 And then a different wing of SoCalGas buys gas for the core customers.

23 In the Southern system there is a mechanism where the
24 pipeline operator will buy gas to maintain reliability there. We're
25 proposing to include that same mechanism in the LA region, in the

1 Northern system.

2 Third, use existing rules to call high and low OFOs more
3 frequently in together when necessary. Four, identify and expedite
4 pending transmission upgrades with the potential to reduce the min
5 gen requirement. And, five, monitor status of U.S. Department of
6 Energy natural gas demand response programs to ensure California is
7 a region for the pilots. And I'll talk a little bit more about what
8 California's already doing on natural gas demand response.

9 And then knowing that a lot of these pipeline outages may
10 continue going forward, the joint agencies are going to continue
11 working on the plan for next winter unless we see some dramatic change
12 in the pipeline maintenance schedules. One slide too many.

13 so a little bit of report on the prior measures. As I've
14 said, most of the prior measures that the prior action plans have
15 done remain ongoing, either through rules that made them permanent
16 or ones that are conservation measures. Once that conservation --
17 once that efficiency was put in place, it tends to stay there.

18 A couple I do want to highlight here that are of particular
19 interest. You know really going down to the bottom one, develop and
20 deploy gas demand response programs. That's checked off on the box
21 as done. As we'll see in the next slide in a second, a lot of the
22 savings from this is accumulated in summertime because the savings
23 comes from managing the electric system better. When the noncore
24 is the big gas user in the wintertime, when the core is the big gas
25 user, it's much harder to get in and get reductions in usage more

1 efficiently in the system with the core customers. One place we can
2 do that is with demand response programs.

3 The last two winters we have had gas demand response
4 programs in place taking advantage of smart thermostats. In both
5 times -- based on both winters, I believe that we can dramatically
6 expand on the effectiveness of those programs by getting an earlier
7 start, so we have already actually directed the utility to begin
8 planning for next winter, marketing outreach on that through an
9 advice letter process, and have directed them to file an application
10 with the PUC to create a more permanent, long-term demand response
11 program.

12 Finally, here are some of the results. We will be posting
13 or have posted on the PUC's website today an assessment of the
14 effectiveness of the mitigation measures that are under the PUC's
15 control. That's not a total of the effectiveness of all the programs
16 because we don't have an analysis of the mitigation measures that
17 LADWP has put in place or the efforts that CalISO has done to reduce
18 gas need for electric generation.

19 As you can see from this chart, in the summertime the
20 combination of these measures is fairly significant in its reducing
21 of gas flow. And actually it's probably more significant than these
22 numbers dictate because it's getting -- as we get further and further
23 away from implementing some of these measures, somewhat ironically
24 it gets harder and harder to measure them. Some of the energy
25 efficiency measures in there, now that they're embedded in future

1 forecasts, it's actually harder to pull out those individual measures
2 to show what they're doing, so we actually think there's actually
3 a little bit more savings than what we're estimating here. However,
4 in the wintertime, which is where going forward we're really going
5 to need some of the savings, they aren't as significant. And, like
6 I said, one of the places we will already start focusing so we're
7 thinking about it well in advance is the natural gas demand response
8 programs.

9 And I think with that -- oh, sorry. And then PUC
10 activities beyond the action plan. As I've already just mentioned,
11 we updated the Aliso Canyon Demand Side Resource Impact Report, which
12 is available on our website now. And then in addition to the Aliso
13 Canyon mitigation measures, the CPUC estimates impacts of existing
14 and authorized demand side resources that also reduce demand for
15 natural gas in the region. That, again as I've said, there are other
16 measures beyond Aliso Canyon that are leading to reductions on both
17 electric and natural gas in the region that aren't incorporated in
18 the report but are ongoing.

19 The California Council for Science and Technology's
20 long-term study of statewide viability of natural gas was released
21 this January. We will be holding a workshop on that some time in
22 the summer around that.

23 And then the order instituting investigation into the
24 feasibility of reducing or eliminating use of Aliso Canyon has been
25 opened and, as Commissioner Randolph mentioned in her opening

1 comments today, that is taking the long-term look at ways to reduce
2 or eliminate the need for Aliso Canyon.

3 And then, finally, as this summer technical assessment is
4 complete, my staff will begin working on an update to the 715 report
5 and that is the report that requires the PUC to determine the maximum
6 amount of gas that can be stored in Aliso based on what is needed
7 for reliability purposes.

8 And, with that,...

9 MR. PETERS: Okay. So back to me. I will talk the next
10 three slides with regard to what the ISO has done with regard to
11 mitigation measures since 2016, giving you an update over the past
12 year.

13 So, first off, much better coordination between the ISO,
14 SoCalGas, and generators within the ISO's balancing authority since
15 2016. The result of that proactive coordination is that the
16 reduction in the amount of gas in balance on a daily basis. So if
17 you look at this graph, it's a little hard to follow. It does a
18 calculation between what our real time dispatch is and what our
19 day-ahead market is in terms of the million Btu. And you can see
20 that it's reduced over time substantially, since 2015, to '16. The
21 numbers down below, you can see through the summer months, have all
22 reduced significantly. And that's really for two reasons. So one
23 is the ISO since 2016, we have a new provision in our tariff -- or
24 temporary provisions that we renew every year, that we deliver the
25 estimated gas dispatch for the second day out in our markets to the

1 gas generator. So a little background on the timing then.

2 So the ISO's day-ahead market closes at ten o'clock.

3 Results are posted at one o'clock, so that generators to participate
4 in the timely nomination gas cycle, timely gas nomination cycle
5 nominations are due at eleven o'clock in the morning. So at eleven
6 o'clock in the morning, generators only know what their previous
7 day's gas burns were. They don't know yet what the results of that
8 day-ahead market will be for the next day.

9 So on the previous day, in the afternoon of the previous
10 day, not only do they receive their day-ahead results they also
11 received two-day-ahead results -- a day plus two we'll call it. And
12 what that results in is they have a better idea of what the amount
13 of gas to nominate would be for that particular next day.

14 Additionally, we're also increasing gas and electric
15 coordination with SoCalGas. SoCalGas receives from us similar
16 information, not only the day-ahead market results but the
17 day-plus-two market results, as well as real time data on what the
18 gas burns are. So it helps them to improve cooperation, proactive
19 operation of the gas system. We also hold, you know, preparation
20 meetings for summer and winter, coordination meetings with SoCalGas.

21 The tariff provisions that we have in place for providing
22 the day-plus-two information to generators are in place until
23 December 16th of 2018 and likely would extend those then going into
24 2019. So the next slide, let's see. There we go.

25 So some of these things you heard from Neil Millar in his

1 earlier presentation, but as far as the analysis that I talked about
2 in previous slides, including in those power flow analyses were
3 several new transmission upgrades that were originally put in place
4 as a result of planning -- transmission planning processes in 2013
5 and '14, where we installed upgrades due to the loss of the SONGS
6 and as well as upcoming OTC retirements. Three completed projects,
7 at least two are in service, the Santiago Synchronous Condenser in
8 the Edison area, and the San Luis Rey Synchronous Condenser in the
9 SDG&E area. The upcoming Sycamore-Penasquitos, you heard about that
10 this morning as well, we expect to see that in service by July of
11 2018. So the way these really help reduce the whole gas burn, minimum
12 gas burn requirement is that it allows for increased imports into
13 the SoCal area.

14 Some other projects that you also heard about this morning,
15 so three new ones that will be in place after this summer that also
16 allow for greater import -- imports into Southern California. The
17 San Onofre Synchronous Condenser we expect to see in service by
18 October of this year. The Suncrest Static VAR Compensator, sort of
19 undetermined at this time. The service date is being revisited by
20 the project sponsor. And of course, you know, the highlight of
21 Neil's presentation this morning that we're all looking forward to
22 is this looping in of 500 kV into the Mesa Substation. And that would
23 be a significant improvement into allowing imports into the LA Basin
24 area.

25 And we're back to -- oh, it's -- I'll give to Chris Lynn.

1 MR. LYNN: All right. Hi. I'm Chris Lynn with the LA
2 Department of Water and Power, Director of the Power Supply
3 Operations Division. So I'm here to talk about the mitigation
4 measures.

5 And the first item is to talk about the coordination, and
6 there has been a lot of coordination between SoCalGas, CalISO, and
7 the LADWP. You know this improves the situational awareness,
8 particularly during the critical high-heat days.

9 A couple things I want to mention is, you know, we're doing
10 a day-ahead hourly gas burn estimate every day, and then we're talking
11 with SoCalGas and CalISO on a daily basis. On high-heat days, we're
12 talking to them even more often than that. So the coordination has
13 been very well and it's helped, in particular, you know on the
14 February 19, when we had the first cold day, within hours the three
15 utilities were talking -- or the balancing authority, CAISO, and
16 SoCalGas and ourselves. We're talking to one another and coming up
17 with plans on how we could work through the curtailments that we were
18 having for that timeframe.

19 The other time that I remember was the pipeline, the 235-2
20 went with a rupture. Once again within hours, SoCalGas was in
21 contact with ourselves, LADWP and CAISO. And we were putting plans
22 in place and determining what needed to be done and how we could keep
23 reliable electricity going during that time.

24 So the next bullet. We have updated our physical gas
25 hedging. There is no physical gas purchases, only financial. So

1 we're not making any physical purchases until the day ahead, like
2 on a spot purchase. And that's -- you know that's been giving us
3 the ability to watch what's happening with our curtailments and
4 curtailment watch periods. So that's been very helpful as well.

5 Update on economic dispatch. This provides additional
6 operational flexibility by performing noneconomic dispatch
7 purchases which reduce reliance on local gas by 1.7 BcF. And that
8 was for the period of quarter 3, which is the summer months of 2017.

9 So the block energy and capacity sales. We haven't -- we
10 are not making term energy sales through the summer. It's just too
11 risky to be making sales, in particular if we're selling gas
12 generation to utilities within our own balancing authority, and if
13 there is a curtailment it kind of compounds the problem, so we are
14 not making those types of purchases through the summer.

15 And then the next bullet. You know we continue to maintain
16 the dual fuel capability. That's at three of our gas-generating
17 stations. So -- but what I want to emphasize here is that is a last
18 resort to maintain electric reliability in emergency situations. So
19 everything else is exhausted before we would use the dual fuel
20 capability within the LA system.

21 And then, finally, the last bullet. You heard the
22 presentation about preferred resources and transmission. You know
23 LA's done a lot with solar and bringing transmission in. We've got
24 like a thousand megawatts coming in from the Mojave and Southern
25 Nevada area. But even with that we're still reliant on gas in the

1 LA Basin. And in particular I want to mention postponing the
2 transmission lines in the wintertime because of the capacity
3 reductions, pretty much what it's doing is it's postponing what we're
4 trying to do which is get off of gas and go to a more renewable
5 portfolio.

6 So I think it was mentioned earlier that we need to come
7 up with a plan on how to continue the transmission upgrades, keep
8 moving toward the 100-percent renewable, which is what the plan is.
9 And to do that, we really -- you know we postponed those outages on
10 those lines because of had we moved forward with the need for gas
11 through last winter for LA would have been five times what it actually
12 was. So it just did not make sense to do that work with the line
13 outages that existed.

14 So, with that, I can turn it over to Drew.

15 MR. BOHAN: It is my privilege to provide a quick summary.
16 First I just want to thank you very much for your patience. We just
17 spent the last hour providing you with a dizzying number of statistics
18 and analysis.

19 The bottom line, though, is that the agencies at this table
20 are going to be doing their level best over the coming months to make
21 sure that we maintain reliability in Southern California. It's not
22 going to be an easy task, but the collaboration has proved fruitful
23 in the past. A couple of years, we expect to do the same coming up.

24 We can't control weather. We can't directly control
25 pipeline outages, but we'll do our best to control what we can.

1 Three things we think are important, looking back on what
2 you've just heard, that will help us do this. The first is we've
3 got to fully utilize the pipeline capacity. Whatever we've got in
4 the pipes we've got to use that. Second, we have got to make sure
5 we do a good job of implementing all the mitigation measures that
6 we discussed. And, third, we've got to do what we can to help
7 facilitate those repairs on the gas lines, because the quicker those
8 get repaired, the quicker problems we face get resolved.

9 The final slide is, I'm not going to walk through all these,
10 you heard about each of these, but the -- anyway, we lost the slide.
11 But we're -- that's right, I'll just run through them.

12 So the main things we're going to be looking at in terms
13 of mitigation measures are -- he's fast -- are outages. Obviously,
14 keep an eye on the repair work, very closely. Pipeline utilization,
15 like I just described. Storage inventories -- she'll get to the
16 slide.

17 And then finally I just want to close by saying, again,
18 we didn't talk about it here, but I want to re-emphasize the
19 importance of the other things that we're doing, and those include
20 looking at the feasibility of minimizing or eliminating the use of
21 Aliso Canyon. Second, looking at phasing out Aliso Canyon in the
22 next ten years, as Governor Brown has requested. And, finally,
23 looking at the potential moratorium on gas hookups in the basin,
24 because the fewer of those we have the less demand grows.

25 And, again, I just want to thank you all very much for your

1 time and attention. And we'll of course take questions.

2 CEC CHAIR WEISENMILLER: Thanks. I had a couple of
3 questions. One is in the morning we heard from LADWP about their
4 plans to upgrade their transmission system. And that work has to
5 be done in the winter. And, at the same time looking at your slides,
6 everything said assuming a hundred percent transmission
7 availability, this is what things look like. And, in fact, if it
8 gets below 85 to 90, we're in a problem.

9 So how do we build in the necessary transmission work,
10 either maintenance or expansion so that we're not saying out of the
11 box, you know, we're assuming a hundred percent transmission but
12 we're not going to have it?

13 MR. LYNN: Yeah, so I can speak to that. So, yeah, so the
14 slides are talking about the summer, so we wouldn't be --

15 CEC CHAIR WEISENMILLER: Right.

16 MR. LYNN: -- doing transmission work during the summer
17 because that's our high-load period.

18 CEC CHAIR WEISENMILLER: Right.

19 MR. LYNN: So then, you know, our transmission work would
20 need to happen in the wintertime or start in the fall and probably
21 go through the winter periods. And for that to happen we're going
22 -- we would need that pipeline capacity for the gas to be restored,
23 because when the reality is -- you know, and you're correct. We need
24 to take not only the transmission lines that we're working on to do
25 the reconductor, but often that's not the only line that's in a

1 right-of-way. So we often take multiple transmission lines out of
2 service so that we can perform work on one of those lines. So for
3 that to happen, we would need those pipelines available.

4 CEC CHAIR WEISENMILLER: Okay.

5 CPUC COMMISSIONER RECHTSCHAFFEN: May I ask a follow-up,
6 Bob?

7 CEC CHAIR WEISENMILLER: Sure.

8 CPUC COMMISSIONER RECHTSCHAFFEN: So does the 18,000, the
9 figure of 18,000 megawatts imported assume -- does it assume upgrades
10 that you're in the process of doing or does that assume just
11 everything is working on the system right now?

12 MR. PETERS: So the 18,000, 818 actually is the available
13 transmission capacity right now of the system.

14 CPUC COMMISSIONER RECHTSCHAFFEN: Okay.

15 CEC CHAIR WEISENMILLER: So a different question. Had --
16 you know we're struggling a lot with pipeline capacity, where is it,
17 how do we get it back in line. You know what regulatory tools does
18 the PUC have to actually get stuff done fast, to get it back?

19 MR. RANDOLPH: That's a good question, and I don't have
20 great answers to that right now. You know when last October, when
21 Line 235 went out and then you had some issues with some other
22 pipelines, that was a fairly -- you know from a regulator standpoint,
23 that was one that you could look at and say given the totality of
24 things we can understand why the public may be suspicious of motives
25 or other things, but a pipeline did rupture. And the utility is going

1 out to repair it and we do want them to be focused on safety through
2 and through, so we do want them to do a root cause analysis on what
3 caused the explosion. And there were some similarities in the
4 pipelines to -- between 235 and 4000, so it makes sense to reduce
5 pressure there and pig it. You know all of that is seemingly
6 justified by the utility.

7 The regulator does have -- not my division but another
8 division -- folks who are out in the field as part of the root cause
9 inspection and looking at time lines there to make sure they're
10 operating in a safe manner.

11 The question that we're beginning to ask -- not beginning
12 to -- have been seriously asking now is as online dates get delayed,
13 as more pipeline start to have issues, you know, what is really going
14 on with their system, and is SoCalGas properly managing their system.
15 So we are having the discussions now on what are the regulatory tools
16 we have from a proceeding standpoint, for a standpoint of working
17 with the other agencies out there to do that, without having the
18 regulator become the micro manager of the utility. And it may take
19 the regulator to become the micro manager of the utility, but that's
20 not our skillset. So that's something that we're trying to avoid
21 and trying to figure out the tools we have that are short of that.

22 CEC CHAIR WEISENMILLER: Exactly. It just seemed like at
23 some point you have to wonder is the study useful and if it's not,
24 take it out of rate base.

25 MS. KERR: I have a question about you mentioned -- you

1 were talking about the withdrawal protocols and the procedures by
2 which they are allowed to withdraw. What about injection protocols,
3 do they have certain requirements they're supposed to follow in terms
4 of injection, and how does that work?

5 MR. RANDOLPH: On the injection side, we both last summer
6 and have already started this for this summer, ruled two directives
7 to them to make sure that they are injecting gas into all of the
8 storage facilities to get them up to the maximum capacity they
9 possibly can. You know last year that included some, I think,
10 specific directives on volumes to target in the other non-Aliso
11 storage fields. So far this year we have directed them to submit
12 a plan to us and I believe it's actually on the Commission agenda
13 for a vote this Thursday to approve that, if not, it's the next
14 meeting, a plan for the -- to purchase gas using the core customers
15 to put in storage to make sure that they are injecting enough gas
16 into the non-Aliso fields so that there is sufficient gas there next
17 year without putting unnecessary pressure on Aliso.

18 CPUC COMMISSIONER RANDOLPH: Okay. And then you know we
19 talked about pipeline outages, but we're also having a conversation
20 about pipeline capacity in terms of how much is flowing through the
21 system when you have your pipes working. And the most successful
22 mitigation measure so far has been the OFO mitigation measure. And
23 I know that that is something that's listed as sort of a new mitigation
24 measure as well, so can you talk a little bit about what value added
25 of the additional mitigation measure and would that realistically

1 improve pipeline capacity?

2 MS. ELDER: The idea, Commissioner, was that when the --
3 two years ago when we created the additional OFO rule, or low OFO
4 rule, that is sort of a substitute for daily balancing, we had thought
5 then it was really important for -- to minimize imbalances on the
6 system because every time you've got an imbalance, a difference
7 between demand and supply on the system, storage is how you fix it.
8 So we wanted to reduce how often they had to use gas from storage
9 or inject gas to storage to remedy those imbalances. So that was
10 the genesis of the original Low OFO rule.

11 Part of the settlement that got adopted to create that rule
12 allows SoCalGas to call both a high and a low OFO on the same day,
13 which in effect creates daily balancing on that day. So instead of
14 having a rule for daily balancing that applies every single day, they
15 can do it under the existing rules just when they need to.

16 And so what we wanted to highlight for people is that we
17 think that that's going to be needed more this summer than it has
18 been in previous -- than it was last year or the year before that
19 when it first got adopted. And then it probably won't be just the
20 low OFO alone, but they may have to recall both on the same day to
21 invoke that daily balancing on certain days. So it's really sort
22 of a red flag or a flag waving to say we think this is going to need
23 to happen more often. It doesn't really require you to adopt a new
24 rule at all.

25 MR. RANDOLPH: In the add-on to that you know what we've

1 seen is the most effective of the mitigation measures is that use
2 of the OFOs and to better balance the system. Where there is a hole
3 in that or a weakness in that is that applies only to the noncore
4 customers. And it actually puts -- and I don't know if there are
5 noncore customers who will testify later on in public comment -- it
6 does put an added cost to the noncore customers to comply with those
7 orders because they're unable to hedge as much as they used to be
8 able to be, and there is a substantial penalty risk if they don't.

9 Those same requirements do not apply to the core customers,
10 which for folks in the audience that don't know, those are largely
11 the residential customers. And the purchasing for that, it's
12 SoCalGas, a different entity than who manages the pipelines, does
13 that procurement. Historically, they haven't been able to balance
14 on a daily basis because meters at the home couldn't read that way,
15 but now with smart meters they should have the data to be able to
16 better balance to actual core demand on a daily basis {and, you know,
17 add a much higher level of certainty to what's in the gas system that
18 day.

19 Now the PUC does have an open proceeding looking at
20 imposing those type of balancing rules on the core. I think from
21 a timing of that, that definitely would not impact this summer and
22 probably wouldn't impact next winter since some of the issues in there
23 are pretty controversial.

24 MR. WALKER: Could I ask you to go back to slide number
25 20 that Katie introduced, and I just want to point out something for

1 the Commissioners. I'm from the Division of Oil and Gas, and we don't
2 have target inventories but our concern is mostly with the reservoir
3 integrity and the well integrity. And on that slide, on the far
4 right-hand column you have the max inventory during those times and
5 on the first six of those is 75 billion cubic feet. And our -- what
6 we do for Aliso Canyon, we establish a minimum and a maximum pressure.
7 And the maximum pressure that we would allow in Aliso Canyon would
8 be 2,926 psi bottom hole pressure, which is approximately 75 BcF.
9 So we would be in the position safely to support the scenarios that
10 you have here so long as on the last scenario, at least 21 BcF went
11 into the other storage reservoirs. So we do agree that what you're
12 considering here is safe from our concerns.

13 MS. ELDER: That gives me the opportunity to clarify that
14 that column is all four storage fields.

15 MR. WALKER: Yeah.

16 MS. ELDER: It's not just Aliso. And the year-end storage
17 column is also all for four fields, not just Aliso. Thanks, Al.

18 MR. WALKER: Um-hum. Thank you.

19 CPUC COMMISSIONER RECHTSCHAFFEN: Katie, could you follow
20 up on the point? You had a bullet about physical system mitigation
21 being uncertain. I don't know if that just refers to uncertainty
22 about when repairs and maintenance is concluded or what exactly you
23 were referring to; could you elaborate on that?

24 MS. ELDER: Sure. What we're getting at there is that
25 both there could be some additional outages that could occur later

1 in the summer. We weren't sure when we drafted this and I'm not sure
2 that we're sure today whether we will have an additional outage or
3 not potentially on line 4000, which is the 270 a day that you see
4 coming in the gas balance at North Needles. We're not sure if we're
5 going to be able to count on that in all scenarios.

6 There is another scenario where there is 200 a day that
7 potentially disappears out of the Southern system. And so it's those
8 two things that we are trying to test in our additional scenarios,
9 when and where those happen.

10 In terms of a physical mitigation or the system mitigation,
11 I should call it, there is -- SoCalGas has the opportunity to accept
12 up to 700 a day at Kramer Junction. That would be gas that comes
13 in from Kern River Gas Transmission. And -- but it's not available
14 every day. It's only available when -- I think the way to say it
15 is that when the operating pressure on Kern River is higher than the
16 operating pressure on SoCalGas, so that it has to be able to push
17 that gas into the SoCalGas system, effectively.

18 What we saw, we looked at -- this measure was actually in
19 place over the course of the winter and what we saw in the gas balance
20 that we did for the winter in our winter supplement that was released
21 on November 28th, we assumed not 700 a day came in every single day
22 at Kramer Junction from Kern River, but we used 625. And I chose
23 625 because it was the mid-point between 550 and 700. Literally
24 that's where the 625 came from.

25 We did some analysis of the deliveries that actually

1 occurred over the course of the winter from Kern River, and it turns
2 out that they conveniently average 625, so we used 625 in all of the
3 gas balance analysis that we did here as well.

4 So there are days where it could be 700, but there are days
5 that it could be substantially less, and so we dealt with that by
6 using the 625.

7 The other system mitigation gets to deal with Otay Mesa.
8 CPUC worked very hard late last summer, early in the fall to get
9 SoCalGas the permission to obtain 150 a day -- 150 MMcf per day worth
10 of pipeline capacity on North Baja and Baja Norte, which are the two
11 pipelines that connect Ehrenberg then run through Mexico along the
12 international boundary to Otay Mesa.

13 And in fact when you go look at the deliveries that occurred
14 using that pipeline capacity over the winter, it's very rarely 150
15 a day. In other words, we're not seeing 150 a day show up. So some
16 of our scenarios made an effort to try to say, well, what if that
17 150 a day showed up every single day and what if it doesn't.

18 And in a couple of the cases, -- and I'm going to space
19 on which ones they are, I'm sorry -- we actually bumped it up to 230
20 a day trying to actually get a system improvement saying we have lost
21 30 a day on the Southern system due to the expiration of that
22 right-of-way through the Morango Reservation. So I need to make that
23 up at Otay Mesa. Now can I go another 200 a day at Otay Mesa? Yes,
24 I can, but only if it's LNG coming in through Coastal Azul. That's
25 the only way we could come up with to -- with certainty get 230 a

1 day to show up at Otay Mesa because of the way that the -- because
2 of the shippers that are on that existing pipeline capacity who have
3 rights to it and how they use it. There are several powerplants on
4 the Mexican side of the boundary, international boundary who use that
5 pipeline. We don't want to mess with their gas. We need them to
6 get that gas too. But if we had LNG showing up through Coastal Azul,
7 we could have 230 a day every single day at Otay Mesa, at least strike
8 off one of our problems on our pipeline capacity issue.

9 CPUC COMMISSIONER RECHTSCHAFFEN: I have one other
10 question either for Ed or maybe it's for Alan Walker.

11 Ed, you started to talk about the lessons learned from the
12 withdrawal of Aliso over the winter and you had just some preliminary
13 results about receipts not matching demand, but did we learn -- what
14 did we learn about how the field actually operated from that
15 withdrawal instance? Did it perform up to capacity as anticipated?

16 MR. WALKER: Yeah. We were anticipating that there were
17 going to be a very significant decrease in deliverability from the
18 wells and we were surprised that they actually performed quite well
19 with the low inventory that you had in that reservoir. So now they
20 have -- you have to run some long-term experiences because they only
21 ran them for a couple hours each day, so you'd really want to run
22 them for, you know, days on end to see how they will perform long
23 term.

24 MR. RANDOLPH: From an overall system operating
25 standpoint, I mean there's some lessons learned that we'll be getting

1 into on how SoCalGas operated the system. At the same time the way
2 the withdrawal protocols were interpreted, and using SoCalGas --
3 using that field only as the last resort, put tremendous pressure
4 on the other storage fields. So those fields, they didn't have any
5 major maintenance issues during that cold spell, but it puts pressure
6 on them. But what it did leave is at the very end of that long cold
7 spell, with the other storage facilities at a point where if the
8 demand had increased, included for a couple more days, there wouldn't
9 have been enough storage in those fields to meet demand in the system,
10 and we could have had problems. So that is a lesson learned that
11 we need to go into -- when we're looking at how the withdrawal
12 protocols are interpreted and used, to make sure that you aren't
13 getting to the point where the other storage fields can't be used
14 at all.

15 CPUC COMMISSIONER RANDOLPH: So I just want to kind of ask
16 a summary question of how all this fits together. The way I read
17 the assessment is that if we have too many hot days in the summer,
18 we will have to withdraw -- or even if we don't have to withdraw,
19 we won't be able to inject much more into the fields, and then we
20 start winter with less than we need, unless our mitigation measures
21 work. Is that -- am I summarizing correctly? So that's the concern?

22 We're both nodding yes.

23 MR. RANDOLPH: I think the report says as long as
24 everything goes reasonably okay, there is not a huge stress on the
25 electric system this summer. There is some risk out there. It does

1 assume transmission capacity. You know, remains there and there is
2 not an N-1-1 type event and some other events out there. But also
3 keep in mind that the scenarios are assuming there's no withdrawals
4 from Aliso, so you also do have the ability to withdraw from Aliso
5 as a last resort. But as you do that and if the Aliso -- maximum
6 amount in Aliso remains the same and you aren't able to inject in
7 other fields as you're withdrawing from the others, we do get going
8 into winter with -- you know in a worse situation than we were last
9 year in terms of what's in storage.

10 And while December and January were unseasonably warm, if
11 people remember back at how pleasant those months were, we did see
12 the impact of a long cold snap, and it got close.

13 CPUC COMMISSIONER RANDOLPH: And the other take-away is
14 it would be a much different picture if we didn't have so many pipeline
15 outages.

16 MR. RANDOLPH: That is very true. I think we would all
17 sleep a lot better if we didn't have these pipeline outages.

18 CPUC COMMISSIONER RANDOLPH: Okay. Thank you.

19 CEC CHAIR WEISENMILLER: Yeah. I mean, again, it just
20 sort of trying to summarize on the next winter, I think all of us
21 would like not to be here next fall going through the situation. But
22 I think we're going to have to depend pretty much on what's going
23 on with the pipelines and what's going on with storage inventory,
24 to see whether or not we need to look at more mitigation measures.
25 Anyway, so with that.

1 MR. ROTHLEDER: This is Mark Rothleder. A comment and a
2 question. I think one of the things I learned from this summer --
3 or this winter's experience is that these extended periods of
4 curtailment or producing the amount of gas electricity can extend
5 for a longer period of time than just the immediate issue at hand
6 in the cold spell, because basically it extended because they were
7 also trying to refill the storage facility after the immediate issue
8 and that extended the period and the cost period of the impact of
9 that event. That's a comment.

10 The question is on the LNG and this LNG coming in from Baja
11 has been on there for several times. Is this year, and how is the
12 commercial -- commercially how do you get that LNG purchased and who's
13 purchasing it and who is responsible for achieving it?

14 CEC CHAIR WEISENMILLER: I think those are affiliate
15 transaction issues that the PUC is going to have to deal with.

16 MS. ELDER: That's one issue. The first step would
17 probably be to decide who's going to make the purchase, and there
18 may be some regulatory issues around who should actually do it. One
19 can say, well, it's noncore customers who are going to get curtailed,
20 this is a noncore customer problem.

21 One LNG cargo was probably more gas than a single non --
22 in fact I know it's more of the gas than a single noncore customer
23 can use, and so it's got to be a group of noncore customers. Could
24 a group of noncore customers actually form, what are the logistics
25 of that? So it may be easier for the core to do it than the noncore.

1 Beyond that, it's been a while since I actually had to engage in making
2 commercial transactions, but the first step might be to call a broker.

3 MR. RANDOLPH: Yeah. And I'll just say for the sake of
4 everybody, if it were the noncore to do this, that would probably
5 include some of the electric generation. And it's really easy for
6 us to kind of in a general sense, where the noncore is the big
7 commercial customers, make them pay for it and not the residential.
8 But, A, more of our mitigation measures have been much more focused
9 and, you know, as far as the ones that have cost to them on the noncore
10 customers already. And, two, since the biggest noncore customers
11 are electric generation, and they get to pass their fuel costs onto
12 their electric customers, it lines up with residential customers one
13 way or the other.

14 CEC CHAIR WEISENMILLER: Yeah. But, again, I think
15 they're affiliate -- if I remember correctly, Commissioner Florio
16 was going to try to work through some of the affiliate issues that
17 would have to be addressed if you were going to get to the LNG issue.
18 Yeah, obviously Mike is no longer around for that issue at least.

19 MR. RANDOLPH: And I think that's right. If the core is
20 going to purchase it we would have to work through
21 affiliate-transaction challenges.

22 CEC CHAIR WEISENMILLER: Well, thanks.

23 MS. RAITT: So as we transition to our next panel, I just
24 wanted to remind folks in the room if you did want to make comments
25 at the end of the day, if you could work with our Public Adviser and

1 fill out one of these blue cards and so we can get you at the end
2 of the day. Thanks. And also for the WebEx folks, to just let our
3 WebEx Coordinator know that you'd like to make comments and use the
4 chat function to raise your hand.

5 You can go ahead when you're ready.

6 MR. SCHWECKE: Good afternoon. Thanks for giving me the
7 opportunity and my colleague Dan Rendler the opportunity. I'm
8 Rodger Schwecke. I'm the Senior Vice President of Transmission,
9 Storage and Engineering for Southern California Gas Company and San
10 Diego Gas & Electric.

11 Dan will be talking about some of the new gas hookups and
12 some of the demand response issues. I will cover the system issues
13 that we have, the system reliability, our assessment of the energy
14 reliability. I think the panel before us did an excellent job of
15 describing the issues, so I will try not to repeat what they have
16 already said, and see if I can clarify some items that I heard that
17 they mentioned that we may have a different opinion about.

18 So, to start with, a lot of discussion has been going on
19 about pipeline outages and it's clearly from our standpoint those
20 pipeline outages will continue through the summer and the peak EG
21 demand during the summer period. With those pipeline outages, the
22 ability to fill storage for the coming winter becomes challenged.
23 It's not impossible but it becomes challenged. And utilization of
24 the receipt point capacity to serve both summer demand and fill
25 storage, that's where the challenge becomes, so that's where it

1 really lies into what does the winter hold for us -- or the summer
2 hold for us as far as electric generation demand and also what kind
3 of resources do we still continue to have. We have our current
4 outages. As was mentioned before, there is potential for additional
5 outages based on some work that has been done and some results we
6 have to get back on testing.

7 That all said, without the use of Aliso Canyon, we believe
8 our system can handle a demand that runs between 3.2 and 3.4 BcF a
9 day, which equates and will support in the summer EG demand of about
10 1.7 to 1.8 BcF a day. That's everything working as we had assessed
11 the system. And, I think as Katie had mentioned before, we assess
12 the system unit at 85 percent receipt point utilization, which is
13 based on our historical rather than what the Joint Agency did which
14 was a hundred percent utilization at receipt point. So there is some
15 difference there.

16 We do believe that greater utilization of Aliso Canyon can
17 help mitigate some -- any potential curtailments. It also can
18 actually assist in building inventory in the other fields, because
19 when you call at the requirements we have, we want to try to get as
20 much gas in the system as possible. In order for gas to come in the
21 system it has got to go two places. It's either got to go a burn
22 or it's got to go to injection. In order for the gas to be nominated
23 across the interstate pipeline systems and our system, they have to
24 have a place to put it. And if there is no ability to put gas in
25 storage because the other storage fields may be full or limited, that

1 gas cannot get in the system, which actually could reduce the
2 utilization of the receipt points on days when we have low demand.

3 So very similar to what you heard before. We called at
4 our peak summer demand forecast, which is the same that was provided
5 before on the prior panel, 3.511 BcF, and that looks at core load
6 and noncore load almost identical, 770 million cubic feet a day for
7 each of those. And it's fairly flat, so there's not much peaking
8 to that. There is some slight variation when you look at weekday,
9 weekend, but very small during the summertime. I mean core load is
10 primarily weather driven and you don't have the winter weather during
11 the summertime that will drive a higher residential load. And then
12 we had a resident electric generation demand of about 1.9 BcF, almost
13 2 BcF when we looked at it. I think that was very similar to the
14 number that was provided before.

15 So when we looked at all that, we also compared it to what
16 we had -- the information we had on CalISO and LADWP's assessment.
17 We had provided a draft of the technical assessment. And they had
18 a demand, a minimum peak demand, and there has been a lot of discussion
19 of whether they can operate there or not. We just looked at the
20 minimum peak demand of 1.4 to 1.8. whether they can get there or not,
21 I mean it's still dependent upon their import supplies, which is a
22 hundred percent utilization of the import capacity, and other
23 contingencies, and that is clean -- and last one contingency.

24 So we talk about receipt point capacities. You look on
25 the -- the column on the left is the best-case scenario that we have,

1 which shows that Blythe, Otay Mesa is utilized, but that whole zone.
2 And we have two different things we have in our system. We have an
3 individual receipt point and then we have a zonal capacity. In other
4 words, when you have more individual receipt points coming into a
5 location where the entirety of the zone or the pipeline is taking
6 gas away from those points, where that capacity is less than the
7 individual receipt point capacities. So when you look at Blythe and
8 Otay Mesa, that's one zone, where we had the best-case scenario of
9 a little over a BcF available at Blythe, we assumed 200 million a
10 day available at Otay Mesa. Didn't even have what was the reduction
11 to 270 million a day at North Needles. And then to zero which was
12 at Topock, which relates to that Line 3000 outage. And I will talk
13 more about line outages going forward.

14 We actually looked at assuming 600 million a day of
15 deliveries at Kramer Juncture, very similar to what Katie had assumed
16 at 625 in her gas balance analysis. And then we had the other points.
17 We came up with a receipt capacity of about 2.9 BcF. We again
18 factored down to the assumed utilization of that receipt point
19 capacity of about 2.5 BcF.

20 Now in the worst case. The worst case is very similar to
21 the numbers that they had assumed for the prior panel in the Joint
22 Agency Technical Assessment. What we looked at, though, is if you
23 have North Needles out of service, we do expect to have full capacity
24 at Kramer Junction of 700 million a day. So that gets us to a scenario
25 where you have 2.4, 2.5 BcF or receipt capacity. Our factor looked

1 at if we have 85-percent utilization, that would only be 2.1. So
2 that's how we looked at our summer assessment, those bounds. Whether
3 you achieve 85-, 90-percent utilization will depend on how the market
4 goes.

5 I think one of the slides they had in the last presentation
6 talked about the price increase. You would expect that when you have
7 \$20 gas at the Citygate that you would have great utilization of the
8 receipt points. That was the period of time in which they were
9 showing they weren't having -- we didn't have full utilization of
10 receipt points. So there's something else behind it that does not
11 allow full utilization. And when you think that any gas that gets
12 to California has to be sourced back at the supply basins, whether
13 it's Texas, Rocky Mountains, those areas. Is there something else
14 along the supply chain or is that gas already sold to somebody else.

15 There is not a pool of gas sitting at the SoCalGas border
16 waiting to be bought. It all has to be brought all the way back into
17 the supply basins.

18 So we put together this map, very similar to the map that
19 was shown before. I think it's very difficult, but I think what you
20 can see is the big red X's and the yellow X's. These are related
21 to the pipeline outage that we have.

22 And I will take the very top part of the screen where you
23 have that blow-up section. That Newberry is our Newberry Compressor
24 Station. We have two lines that come into Newberry Compressor
25 Station. You have Line 4000 and Line 3000 coming into that -- 235.1

1 I should say and Line 3000. Then you have 235.2 and Line 4000 going
2 out of that compressor station. So you got two lines coming in, two
3 lines going out. That's how it was designed. They go a little bit
4 off in different directions. They come from different sources. The
5 two lines come in and one comes from North Needles or the Transwestern
6 Pipeline. The other than one comes from Topock, which is the El Paso
7 or Kinder Morgan Pipeline.

8 So coming in, we know we had Line 3000 out of service. We
9 were still able to keep 800 million a day of flowing gas through the
10 single line, unlike today at the 270. What you have now is you have
11 the outage on Line 235.2, the rupture. The picture you saw that was
12 in the prior presentation showed what happened at that location. At
13 that point, both lines, 4000 and 235.1, are running in parallel, about
14 25 feet apart.

15 The yellow X we have there is the derate of Line 4000 that
16 we put in place after the incident on Line 235 to ensure and enhance
17 safety. The single biggest ability to reduce stress on a pipeline
18 and to mitigate risk is to reduce pressure, and we did not want to
19 have another incident like we had on Line 235.

20 In addition to that, we knew that in March of 2018 we had
21 to complete a pig run on Line 4000. We did that in February. Those
22 are the results that we're awaiting to get back to see what is the
23 condition of that pipeline, especially in comparison to the root-
24 cause analysis that we found on Line 235. That root-cause analysis
25 has been completed and now we're trying to synthesize that

1 information into what has to be done on 235 and how does that apply
2 to the information we get on Line 4000.

3 So that's the reduction that we're currently seeing at
4 where you have one pipeline coming in at the Newberry Compressor
5 Station and a partially reduced line leaving it. That's the
6 restriction.

7 The other restrictions that we have, and we obviously --
8 if you look down at the bottom part of that chart, you have the three
9 lines that run in that blow-up section, that's the line outage in
10 2000, where we had to take that line out of service. That runs across
11 the Morongo Reservation. That was the incremental 30 million a day
12 of receipt capacity reduction that we have today currently. A
13 reminder. We already had that line derated to be able to perform
14 pigging work and pipeline integrity work that we had to have done,
15 so that line was already reduced by 210, and that has been since 2001
16 -- 2011. Excuse me.

17 The other restriction, the other yellow X is Aliso Canyon,
18 and that's the restricted operation at Aliso Canyon, not only from
19 an inventory standpoint but in order to follow the withdrawal
20 protocol that's been established. So you see how that all looks.
21 I mean you obviously don't like to have red X's on your pipeline
22 system, but this is where we are today.

23 We also took a situation of what happens to our storage
24 inventory. And these two graphs are our assessment where inventory
25 may be, based on certain circumstances. Looking at a withdrawal need

1 from non-Aliso storage fields of 1.32 BcF, or 1320 MMcfd, through
2 the summer and into winter, when we looked at our best-case pipeline
3 scenario, we can get there. I mean we barely get there. There is
4 some reduction. We do fall below it slightly towards the end of the
5 summer, but we get there. Again, that's the best-case scenario of
6 all pipelines working throughout the summertime. So you can see we
7 get at the non -- and these are only non-Aliso storage fields. And
8 that basically says we can get to somewhere around a 40, 45 BcF in
9 those other storage fields.

10 Under a worst-case scenario, which is the bottom where the
11 lighter-gray bars along with the blue line, you could see that under
12 that worst-case scenario we're in a considerable problem because the
13 amount of demand during the summertime will require use of those
14 storage fields, and that will draw down the capacity. Not only does
15 it draw down the inventory capacity but, like we experienced just
16 last winter, it draws down the withdrawal capability, that ability
17 to deliver gas on a moment's notice to meet demand, which is critical
18 during the summertime. I think a lot of the discussion about the
19 summer demand, really we're talking it occurs over a large part of
20 it, over a 10-, 12-hour period. There is those short -- those
21 periods. And also it occurs rapidly.

22 We did also look -- in this case we assumed where would
23 we be if we did have 95-percent utilization of receipt capacity, we
24 did get closer to the numbers we needed to have. So when you look
25 at maintaining, you know, what we're doing to maintain summer

1 reliability, we're obviously focused on increasing our inventory
2 levels, having gas in the ground is a way to help mitigate any issues
3 we have during the summertime and in the coming winter.

4 We filed -- Ed mentioned we filed our advice letter
5 (phonetic) that was directed by the Commission, or by Energy
6 Division. That is, I think, on the agenda this week, which really
7 would drive trying to get more gas in storage, as quickly as possible.
8 A little -- there a little bit of inconsistency between what we're
9 trying to do to push gas in as quickly as possible, because what that
10 does is if it fills up storage fields, and we assume it will, then
11 those storage fields will not be available for injection. And if
12 you're not available for injection, as I mentioned, that will limit
13 the amount of gas that can actually be brought in the system on a
14 given day of low demand. High demand is a different scenario. But
15 low demand, you won't be able to continue to fill it up.

16 Also there are limitations in our Goleta storage field and
17 getting gas up to Goleta. We do expect to have work. We had a
18 pipeline that went out of service during the Montecito mudslides and
19 debris flow. That line was out of service with one of two
20 transmission lines to move gas up in that area. That's why we drew
21 on a lot of Goleta storage significantly this past winter because
22 we did not have the ability to move gas up there from the basin.

23 We will continue to work with CalISO and LADWP. I think
24 the relationship has grown over the last two years out of necessity
25 but I think also because just the common good. And we will continue

1 to work with those agencies to try and make sure that we have --
2 everyone's aware of the situation that we're facing.

3 There was great communication and coordination this last
4 winter, and we expect to continue that going forward. We'll
5 obviously use our OFOs. And, if needed, the Aliso Canyon protocol,
6 which the Aliso Canyon protocol does include curtailments. The
7 current protocol requires a reduction in electric generation demand
8 before Aliso Canyon is used.

9 So one thing I'd like to state is that this last winter,
10 had that restriction or need to use the Aliso Canyon as a last resort.
11 All the curtailments to electric generation customers could have been
12 met -- could have been eliminated had we used Aliso Canyon.

13 The amount of gas that was curtailed or has shifted could
14 have been met by Aliso Canyon. Yes, we would have had lower inventory
15 at Aliso Canyon, but the amount of gas may only have been two and
16 a half to three BcF of additional withdrawals out of Aliso Canyon
17 could have avoided all the curtailments this last winter.

18 So with that, the other thing is, you know, maintenance.
19 We're continuing to schedule maintenance only during low periods.
20 We don't have any major maintenance except for the work on the
21 pipelines. And we're still reviewing all the Technical Agency's
22 report and we do have excuse me concerns about assumptions and
23 conclusions. And we would like to have a conversation about the
24 viability and practical implementation of some of the mitigations.
25 We don't want to have where the medicine that we try actually has

1 more side effects than basically we solve, so more problems could
2 be created. But it's something we can go through and have a
3 conversation and describe how the implementation may or may not
4 occur.

5 So, with that, that's my side of the presentation, and any
6 questions you have, I'm more than willing to attempt to answer. I
7 don't know if you want Dan to go first or...

8 CEC CHAIR WEISENMILLER: Sure, go ahead.

9 MR. [SPEAKER]: Here to load up the -- yup.

10 CPUC COMMISSIONER RECHTSCHAFFEN: Well, obviously we're
11 very, very concerned about the outages and the repairs and the
12 constricted pipeline capacity. And I'm just wondering if you could
13 tell us more about how you prioritize your maintenance, your repair,
14 you know, what factors you consider in deploying people. Do you hire
15 more people to deal with the situation when it's more urgent? Do
16 you think about reliability impacts when you're doing your system
17 repair?

18 MR. SCHWECKE: So when we look at a repair of a pipeline,
19 and I'll use the example we had on --

20 CPUC COMMISSIONER RECHTSCHAFFEN: Or just general
21 maintenance, I mean repair or maintenance, you know.

22 MR. SCHWECKE: Well, I think maintenance is not the issue
23 with regard to the outage that we currently have today. Those are
24 basically, you know, potential for corrosion and anomalies that occur
25 in the pipelines that are underground that were not really maintained

1 per se. It's external to the pipeline. And that's why we have the
2 pipeline safety rules, the pipeline integrity rules that require us
3 to pig those pipelines, to inspect those pipelines. And we go
4 through the normal cycle.

5 When we run that pig, which is like we just ran in February
6 on Line 4000, that's when we find the issues. Those are the major
7 outages; those are the anomalies that we have. First of all,
8 immediate repair conditions, where we have to go in and basically
9 either cut out a section of pipe, put a band on that piece of pipe,
10 that requires us to take that pipeline out of service. When we take
11 that pipeline out of service, we basically will do all the work and
12 we will hire all the resources and all the contractor to move that
13 as quickly as possible.

14 Those lines, I think to give you a little context of just
15 how long it takes, the incident that we had on Line 235 is five miles
16 along a right-of-way road. Dirt, one-lane right-of-way road in
17 which we have to maintain less than a 10-mile-an-hour speed limit.
18 And we have to have biologists on site because of the desert
19 tortoises. So you have to maintain five miles.

20 So you can think to move a lot of resources every day, --
21 and people don't stay on site. To move five miles less than 10 miles
22 a day, a lot of resources, you eat up half the day just getting to
23 the worksite. And you look at that having multiple sites. So what
24 we have done is have multiple crews doing the repairs once they have
25 been identified. We did that with our recent Line 4000 and we brought

1 that back into service.

2 So you know the issue we had on Line 235 caused us to reduce
3 the pressure. That was the work that was just bringing that line
4 back into service where we had multiple crews the end of last year
5 to get that line back into service as quickly as possible. Hopefully
6 I answered your question.

7 CPUC COMMISSIONER RECHTSCHAFFEN: So you're saying you're
8 deploying as many resources as needed as quickly as possible, sort
9 of full court press, every time you're identifying a pipeline in need
10 of repair or a problem?

11 MR. SCHWECKE: We are deploying all resources that can
12 safely perform the work on the pipeline and managed on the pipeline
13 to do the work for the period of time. You can't have unlimited
14 resources because the congestion on some of these work areas would
15 actually delay the process. We are deploying and utilizing
16 contractors to the greatest extent possible for the work to be
17 completed safely.

18 CPUC COMMISSIONER RANDOLPH: And you have parallel sets
19 of crews working on the different pipelines that you currently have
20 out? So, in other words, you're sort of at full capacity for each
21 outage that you have right now?

22 MR. SCHWECKE: So the Line 235, we do not have a
23 remediation plan to bring that line back into service. That was
24 dependent upon the root cause analysis, so there is no work that's
25 actually being completed on that pipeline.

1 Line 4000 is currently operating. We are not performing
2 any work on that, but it's reduced in pressure. Once that line, the
3 information on the pig results come back, we will deploy whatever
4 resources we need to address those issues. And it may be one issue
5 and it may be 50 issues that we have to address. And we will basically
6 address each of those and we'll operate and bring in crews whether
7 it's multiple crews or it's one crew doing all the trenching, one
8 crew doing the -- you know, to optimize the speed in which those
9 repairs can be made.

10 Now I will say what we did do, we had Line 3000, we had
11 crews on Line 3000. The immediacy of the issue we had in Montecito,
12 we did have to move some crews from Line 3000 to deal with the
13 Montecito incident. What that did is it did delay the work on Line
14 3000. However, from a receipt capacity standpoint, if you remember
15 my graph, bringing Line 3000 back into service does not increase the
16 capacity of our system because the constraint is downstream of the
17 Newberry Condenser Station.

18 So those are the only work that we have, is really on Line
19 3000 and the Montecito at this point in time.

20 CPUC COMMISSIONER RECHTSCHAFFEN: I think you said you're
21 conscious of ensuring that you're minimizing maintenance activities
22 during peak demand periods. Can you talk a little bit more about
23 that?

24 MR. SCHWECKE: Well, what we will do is just like with the
25 electric system. We will defer maintenance if needed or we will try

1 to accelerate maintenance during the period of low demand to be ready
2 for a period of higher demand. We have accelerated some maintenance
3 at our Playa Del Rey storage field so we wouldn't be hitting that
4 during a potential period of higher demand. Once we get into
5 high-demand periods, they will set -- you know we will call a
6 restricted maintenance and have hands off. We don't want anyone to
7 touch the pipeline, performing maintenance, or take anything out of
8 service. So we will juggle that. Obviously we will not delay safety
9 related. It's very difficult to delay any compliance related. But
10 any elective maintenance, we will defer.

11 CPUC COMMISSIONER RANDOLPH: I'm going to shift topics for
12 a second. Did you have any more on outages?

13 CPUC COMMISSIONER RECHTSCHAFFEN: Yeah, I had one other
14 question which is do you have contingency plans if there are more
15 outages? We're talking about remedying what exists and what we know
16 about already, and we heard from Katie and others that there may be
17 additional ones. What is the back-up plan or what is the contingency
18 plan for dealing with those?

19 MR. SCHWECKE: Well, the contingency plan, at least what
20 we have put forth, is actually to try to get as much gas into storage
21 as quickly as possible, and that assumes all storage fields, not just
22 the non-Aliso storage fields.

23 We also look at we will have to go out and look at supplies
24 from any and all resources that we get those supplies in, and maximize
25 the receipts. That is the contingency, to get as much gas in the

1 system and to have as much capability to meet the demand during the
2 summer period and the coming winter. Likewise, once we have an
3 outage, is to get that line back into service as quickly as possible.

4 MR. ROTHLEDER: I have one question on outages as well.
5 Does this comparative historical outage rates, is this pattern that
6 we're seeing now a higher outage rate than we've seen in the past
7 and before Aliso Canyon, and what is your -- what's your feeling about
8 the cause of that if it is a different outage pattern, or are we just
9 being more sensitive to it because of Aliso Canyon?

10 MR. SCHWECKE: Well, I think it's -- Mark, I think it's
11 a little bit of all those. One, I think we are seeing a higher outage
12 rate. The one item that really added to the complexity was the
13 rupture on Line 235. Because had we had everything -- we had
14 everything planned with regard to the pig runs knowing, one, that
15 we take Line 3000 out of service, we have to do the pig run on Line
16 4000, that goes out of service, but you still had two pipelines, one
17 going into Newberry and one going out, that could provide 800 plus
18 million a day of capacity. But also it's compounded by the limited
19 use of Aliso Canyon. That was our single largest resource available
20 to us to meet energy reliability in Southern California. That is
21 somewhat taken out of the equation. And when you do that, it hurts
22 and it makes it much more difficult and sensitivity on when you have
23 other outages.

24 CEC CHAIR WEISENMILLER: A couple questions, Rodger. One
25 is what is the age of your system, at least the pipelines where issues

1 are coming up?

2 MR. SCHWECKE: I don't know exactly, but I think Line 235
3 was 1960 vintage. I think Line 4000 and 3000, I think, and I'll have
4 -- we'll have to get to you on that, but it's more of the 1950 vintage.
5 Those are the only pipelines that we have been seeing a lot of
6 anomalies.

7 You take the lines on the Southern system, we don't see
8 the same type. So is it the soil conditions that we have in those
9 areas that are creating more problems. So we have a variety of
10 vintage supply pipelines. But the PSEP Program that was approved
11 is going through, and the Pipeline Integrity Program, and we're
12 replacing a lot of sections of pipe. A lot of the work on mitigation
13 is actually cutting out and replacing with brand new pipe. And we
14 have done a lot of that on Line 3000. Depending on what happens on
15 Line 4000, we may have to do some of that on Line 4000, likewise on
16 235.

17 CEC CHAIR WEISENMILLER: Do you have a sense of what the
18 root cause is on 235, if you can say?

19 MR. SCHWECKE: You know, I don't have the technical
20 assessment and I haven't looked at the final draft, so I'd rather
21 not speculate on what it is. We're going to be sharing that
22 assessment with the Safety Enforcement Division of the PUC, along
23 with the Office of Safety Advocates at PUC. So we'll be working
24 through and discussing what that -- just like the assessment was done
25 by a third party, it wasn't done by us.

1 CEC CHAIR WEISENMILLER: When do you expect sharing it
2 with the PUC Safety people?

3 MR. SCHWECKE: I would expect us probably within the next
4 week.

5 CEC CHAIR WEISENMILLER: Okay.

6 CPUC COMMISSIONER RANDOLPH: Yeah, you mentioned your
7 PSEP. Was the pigging of Line 4000 sort of on schedule with your
8 -- the rest of your PSEP Program?

9 MR. SCHWECKE: So that would be the Federal Pipeline
10 Integrity Program and the requirements to pig pipelines. The due
11 date for that reinspection line, because we have inspected that line
12 once before, was March of this year. We did it in February. And
13 we want to do it as soon as possible because the sooner you do it,
14 the sooner you get results, the sooner you can mitigate any potential
15 issues. And we were trying to push that as quickly as possible to
16 hopefully make sure we can get that line back into service before
17 the peak winter -- summertime and the peak wintertime.

18 CPUC COMMISSIONER RANDOLPH: And the rest of the
19 maintenance that you have been undergoing, setting aside 235 which
20 was obviously an unplanned issue, is consistent with your -- with
21 your PSEP?

22 MR. SCHWECKE: Yes. PSEP and Pipeline Integrity.

23 CPUC COMMISSIONER RECHTSCHAFFEN: You mentioned there are
24 some mitigation measures you have concerns with. Can you tell us
25 what they are?

1 MR. SCHWECKE: So the assumption, and I'll start with the
2 assumption, the assumption of a hundred percent utilization I think
3 people in the industry, you rarely get a hundred percent utilization
4 at a receipt point because that means you have to someplace for the
5 gas to flow and the entire supply chain has to work.

6 CPUC COMMISSIONER RANDOLPH: So you guys assume 85. Is
7 that industry standard? Where did you get that number?

8 MR. SCHWECKE: That's based on our historical
9 utilization. So that is a question. When you take a mitigation,
10 I think one of the mitigations is to have the system operator buy
11 supplies, like we do for the Southern system, what we do on the
12 Southern system is just to ensure a gas is flowing at a particular
13 point. We immediately -- we buy that gas and immediately sell that
14 gas to the Citygate to a customer. We don't hold onto that gas.

15 So that actually has a customer not buying supply but
16 buying from us to the Citygate. So you can't do that exact same thing
17 if you're trying to increase receipt point utilization, because if
18 I buy gas at a particular point and sell it, they're just not buying
19 gas somewhere else.

20 The other thing is does that impact the number of high OFO's
21 that we have, because now we're bringing in supply and is there
22 possibility of now there's too much supply in the system, or are we
23 competing for supplies for other people that need those supplies.
24 Those are the issues you have to walk through.

25 I think you have the same and similar issues when you look

1 at supplies at Otay Mesa on a base load firm basis, because at some
2 point you're pushing other supplies out the system. That's why in
3 order to move that gas, right, buy those additional supplies, which
4 you'd have to decide when do you buy them in the day. There's
5 nomination cycles, there's two nomination cycles before the day of
6 actual use. The first one, basically people make the request. The
7 second one, they try to adjust to make up for where there's supply
8 deficiency. That occurs. And then third one is where they try to
9 also adjust to maybe if we have a high OFO. How long do we wait before
10 we buy those supplies and allow customers to actually buy their own
11 supplies.

12 On the Otay Mesa, if we're buying those supplies and we
13 have a low demand, we're going to be actually pushing other people
14 off the system, because we just can't take all the gas. If we had
15 sufficient injection capacity, which is like a demand on the system,
16 then your amount of gas you could flow in you can optimize the amount
17 of receipt point capacity because then you could flow a lot more
18 because your demand plus your injection capacity is higher than your
19 receipt point capacity.

20 CPUC COMMISSIONER RANDOLPH: So if your historical
21 experience is 85 percent, is that consistent with other gas
22 utilities?

23 MR. SCHWECKE: I don't have that information on the
24 utilization.

25 CPUC COMMISSIONER RECHTSCHAFFEN: Is that it, though, a

1 hundred percent utilization, pipeline utilization, are there other
2 things in the mitigation measures that the assessment identifies that
3 you disagree with or have concerns about?

4 MR. SCHWECKE: Well, I think, you know, obviously
5 continuing with OFOs, we don't have a concern. I mean we've been
6 having OFOs and use that as a tool. The two that draw the most concern
7 for me are: How do we deal with trying to buy gas at Otay Mesa and
8 the other is a system operator buying gas on a given day to try to
9 fill up the receipt point. Incentives more to get the customers may
10 be more of an avenue. And I know customers may not like to hear it,
11 but you go to more of the daily balancing scenario with tighter
12 tolerances, which will force them to buy more gas, and I think every
13 single customer will cringe when they don't know what their demands
14 are.

15 There is one thing I would like to correct that Ed said.
16 Core customers and the gas acquisition group that buys supplies does
17 balance and is required to balance. Now they're only required to
18 balance to a forecast number. They're not required to balance to
19 the actual number, but they are required to balance within the same
20 tolerances of the noncore customers. During the summertime forecast
21 issue for the core is not that big of an issue because the load doesn't
22 change much during the summer.

23 MR. RENDLER: Well, good afternoon. I'm Dan Rendler.
24 I'm the Director of Customer Programs and Assistance for SoCalGas.
25 I'm glad to be here this afternoon. I'm going to talk, as Rodger

1 mentioned, on a couple items. The first is going to be on winter
2 demand response and the second on gas hookups, new gas hookups.

3 Before I jump into -- there we go. Before I jump into the
4 actual demand response, I'd just like to state that the foundation
5 for any demand response is really a robust energy efficiency program,
6 and at SoCalGas we're very proud to have one of those. Just this
7 past year we saved our customers, the residents and businesses in
8 Southern California, over 39 million therms, in the past five years
9 about 146 million therms. So that's foundational and something we
10 think that's important to note upfront.

11 Regarding winter demand response, we are also proud to be
12 the first gas utility to implement a demand response program and gas
13 demand response program. And, as you can see, in 2016-17 it was the
14 initiation of that and we had a couple different efforts and one was
15 looking at a mass market notification campaign and then looking at
16 for noncore customers as well as for core customers and then a pilot
17 for rebate on it. The second piece, to 2016-17, was the smart
18 thermostat. So that's when we initiated the first smart thermostat
19 effort, had about 320 customers. But during that year we did not
20 call an event, a smart thermostat event where we would control the
21 thermostats.

22 In 2017 we continued the smart thermostat load program
23 January through March, and we actually did have an opportunity, and
24 I we will through that on future slides, to implement and execute
25 the demand response effort.

1 The second thing in 2017 and '18 was looking at a
2 demonstration project on demand response capabilities for water
3 heaters, so that is underway as we speak out of energy resource
4 center, and we're currently looking at the technology and working
5 with one of the water heater manufacturers and we're hopeful by
6 mid-summer so to have the results of that, and I will talk a bit about
7 how that fits into our longer-term plan relative to demand response.

8 So this is just a quick snapshot of how the program works.
9 So we have, I should mention upfront, that we have been partnering
10 with DWP and with Southern California Edison on reaching out to
11 customers and signing them up for these. So the initial purchase
12 of them, and that partnership is going well. I will talk a little
13 bit later about how we plan to reach out to other municipalities in
14 our service territory to continue to do that as well. And the idea
15 is to get them to a point where they can -- we can do kind of dual
16 enrollments with both, so they can sign up both for, in Southern
17 California Edison's case, their Safe Power Days during the summertime
18 and then of course our demand response during the wintertime.

19 But the way it works is the thermostat would be lowered
20 by four degrees during a period of system constraint. And those time
21 periods that we had worked with the new manufacturers is between 5:00
22 and 9:00 a.m. and 5:00 p.m. and 9:00 p.m. Those were picked
23 thoughtfully about the times when most of the potential for restraint
24 on the system, and they also were consistent with the vendors'
25 practices as well.

1 As far as the funding, we do have an upfront purchase
2 incentive of \$75, but this is also for the participation. So they
3 received a \$50 incentive for enrolling and then also a \$25 incentive
4 for remaining on the program through the program.

5 And then I should mention also the way that they're
6 notified is either through a mobile app or messaging directly on the
7 thermostat or in an email. So the way that -- the way the process
8 worked was when we identify we are going to have an event, for the
9 next morning we would let them know the evening before. And then
10 on the app that's going to be in the evening, we let them know in
11 the morning. So they get a two-hour notification that will either
12 come on their thermostat, you know, it's whichever preference they
13 had to be notified.

14 CPUC COMMISSIONER RECHTSCHAFFEN: Are there any
15 incentives to purchase the thermostats or is this just for customers
16 who have them?

17 MR. RENDLER: No. It is -- there is an incentive. It's
18 \$75 from us and I know Southern California Edison also has incentive,
19 so they can actually get incentives from both.

20 So here is kind of a recap of the program so far. So we
21 have roughly just under 11,000 thermostats. And the difference in
22 those two numbers is that some homes have two thermostats in them,
23 so that gives you a ballpark of the numbers.

24 The events that we had called were two events, one from
25 February 20th through 23rd and then the 26th through March 2nd. So

1 you might recall we talked earlier about what the weather was like
2 at that time as well too.

3 The program itself goes from January to March. And in some
4 of those cases, you will see where it says seven activations and six
5 activations, so if you do math there are more activations than days
6 there. And the reason for that is in some cases we actually had to
7 activate both in the morning and in the evening to do that.

8 So just from an operational perspective, that was a bit
9 of a challenge. When we were working with the manufacturers and
10 being able to do it twice in one day was something technology wise
11 we had to work out, and also looking at some of the notifications.
12 So in the first go-round of events, it was very educational and we've
13 definitely got some lessons learned as we continue to look at
14 escalating this into increasing the scope.

15 So if we look at the bottom slide there or the bottom bullet
16 there, so the 60 percent of the thermostats actually completed full
17 four-hour activation, so fairly low. I mean we would like to have
18 a hundred percent when we do that. Twenty percent of those
19 thermostats opted out before the start or during an activation, so
20 they can opt out of the program. And then the bottom one there, the
21 third -- the 20 percent of thermostats never received the activation
22 signal due to various reasons.

23 So the two primary reasons there were that the thermostat
24 was either off or it was, interestingly enough, in a different mode.
25 So albeit, being very cold out, it could have been in AC mode, or

1 something. It might have just been that way technically on the unit.
2 The good news is in both those cases they wouldn't be consuming
3 energy, but we're working with the vendors to determine how we might
4 manage to do that to make sure that something doesn't change during
5 the activation cycle if they're in these different conditions.

6 And then also we're currently waiting for the final
7 assessment on the load impact, so I wish I could share with you the
8 specifics and the details of the success on this from the load
9 perspective, but we're expecting by the end of the month to have that
10 from an independent third party. So as soon as we have that, of
11 course we'll make that available.

12 And, just as a statistic, we have about 250,000
13 thermostats, smart thermostats in our service territory, in
14 SoCalGas's service territory.

15 So path forward for winter demand response. Ed had
16 mentioned earlier about an advice letter and an application. So the
17 left side there is the advice letter that we will be filing shortly.
18 I guess the message I'd like to leave here at this stage is that we're
19 committed to provide our customers with energy solutions that best
20 optimize their -- best optimize energy. So that's a way of saying
21 that if we believe the smart thermostat is here to stay and it's
22 something that we can continue to expand and to build on.

23 We currently have an advice letter in now for a pilot
24 program for our low-income customers, so as part of our ESA Program
25 and looking at how we might incorporate that into that program as

1 well. And then we are also looking to do direct install and do that
2 with our partners and also look at a form of -- I'll call it auto
3 enroll. So when you get the thermostat and we install it, we look
4 right there to try and get them enrolled into the system, so it doesn't
5 take a separate step and require them to reach out. So these are
6 a couple ideas that we're looking for and just basically to build
7 on the learnings that we have experienced through this first round.

8 We're also looking nationally too and learning where
9 others have started programs, and I will talk about that in a minute.
10 But to close out on this coming winter, so our plan is to continue
11 with the smart thermostat program, to include other DR-capable
12 thermostat brands. Right now we have two, so we're going to reach
13 out to others and start building that network as well too.

14 And then to increase participation from the just under
15 11,000 we have now to 50,000. So there is a technical glitch with
16 being able to have a customer use our demand response program and
17 Edison's, say, Power Days with the thermostat, so it's kind of one
18 or the other. So we believe in the next couple months or so,
19 hopefully in time for winter, that we will be able to fix that glitch
20 and then therefore we can really work that kind of cross-enrolling
21 folks across our programs.

22 Looking a little bit longer term and looking at the
23 application that will be filed by the end of this year and more
24 permanent funding and a more permanent place for demand response in
25 our portfolio, again to continue to expand our program even further,

1 but also to look at pilot residential water heaters. So this is where
2 I mentioned in this last round we have a pilot going on looking at
3 connectivity of the water heater.

4 So the thought there is that should we be able to prove
5 out the technology and the capabilities, is that you would be able
6 to set a water heater remotely to like the vacation setting, so to
7 drop it down during times of peak and need as well too. So that's
8 one area.

9 The other area is to explore technology and tariff based
10 demand response, so from a technology base we're aware the national
11 grid has been -- I think they just finished a pilot around boilers
12 and furnaces and looking at controls for those, mostly heating, much
13 colder. So we have a difference of weather and -- generally
14 speaking. And, you know, here in our area, but we're still learning
15 from that and the capability and seeing are there things that we could
16 consider on the CNI side that may also have an opportunity. And then
17 looking at things such as any rate determinations, etc. So we're
18 still in the early phases of working through that, but those are some
19 of the areas that we're looking at and considering as well.

20 So that's pretty much the demand response. I can jump into
21 the -- shall I keep going? All right.

22 So the next area I have been asked to speak about is the
23 new gas hookups. So get to the next page here. So a fairly busy
24 slide here, but I just wanted to give you a little bit of framework
25 before we go to a couple of the graphs that you have in there.

1 But our residential forecast is driven by new housing
2 starts. In the past we had used permits for construction, but we
3 felt that since new housing starts, kind of shovel in the ground,
4 is more realistic and is a tighter number, so now we're using those
5 as a precursor to look at active -- or to look at meters and new meters.

6 Just as a stat, over 95 percent of our customer hookups
7 are residential. And if you look at the SoCalGas forecast for active
8 residential meters, so we do have some inactives. We took that into
9 account where they either -- maybe it's a rental that's not being
10 utilized or a vacant property and such, so those were taken into
11 account, but the growth rate of about .7 percent per year over the
12 next years. And we looked out and you will see in the forecast we
13 are about three years in on this particular area. And we looked at,
14 you know, pretty much the common economic activity and assumption,
15 so assuming that the economy goes that's array of .7. And, again,
16 this is meters, so we'll talk about the forecast. I have another
17 slide that talks about the actual usage per meter.

18 And on the commercial side and industrial, the forecast
19 is declining. And what I will show you in a graph a little bit later
20 is that the commercial is fairly level to slight increases. But
21 industrial is clearly -- you know, it is reducing.

22 And, just a note on the long-term use forecasts, this uses
23 weather, normalized usage, looking out over the -- we're looking past
24 20 years, so it neutralizes it for the weather.

25 So a very busy slide here. I will just call your attention

1 to a couple of things. I mean the obvious recession. But if you
2 look at 2017, you will see that our forecast was actually below, so
3 we under forecasted. It looks like around -- I don't have the exact
4 number, but just over 40,000 new homes in that area. And when we
5 look further into that we look into kind of a similar state and we're
6 really focused on the three years. We realize the out years that
7 there's lots that could change, you know, relative to that, but at
8 least in the next two to three years we made an estimate of that.

9 So, again, this is active residential meters. So I want
10 to make sure we're clear on meters, and it's the change. So it's
11 incremental, it's not the base load of all the existing ones. It's
12 just looking at the increase. And, just as a note, our estimates
13 are about 60-percent multi-family, 40-percent single-family. So
14 that has switched over, you know, the recent time where now there
15 is definitely starting to be more multi-family.

16 And so this is forecast that we put together for looking
17 at single-family and multi-family for the next three years. I will
18 note a couple things. The information on use per meter is based on
19 2017, weather normalized. So that's how we use that. And we have
20 compensated for a historic home that is probably less efficient and
21 looking at multi-family home. So you have single-family and
22 multi-family there.

23 Also just kind of a rule of thumb. For an existing home,
24 it's about 447 therms per year and for a new home it's about 335,
25 so we use that also as kind of a base line when we look at forecasting

1 and such.

2 So this next slide is probably the one that gives good
3 insight. So even though I'm showing an increase in the actual new
4 meters, if you look at the overall therms per meter, they have --
5 you know increasingly they're consistently then reducing and we see
6 energy efficiency playing a very large role in that over time. And
7 we see that continuing into the future. So when you look at this
8 information along with the forecast, the overall forecast on the
9 residential side is decreasing slightly. So, again, the slide
10 before I showed you was around new meters. This information about
11 per-meter usage shows an overall reduction in the residential
12 consumption.

13 And then the final slide I have is just one to give a
14 perspective on commercial and industrial meters. So you will see
15 it looks fairly -- it's going down over the years, you know,
16 substantially during the previous two years but in a small uptick.
17 Commercial is actually rising, as I mentioned, a little bit in here,
18 so I didn't bring a commercial and an industrial one, so this is
19 combining both of them. But clearly we're seeing a reduction in
20 industrial businesses leaving the region and such. On the
21 commercial side, there seems to be some uptick in certain geographic
22 areas, but overall it's fairly flat and with a modest increase.

23 So those are the slides that I had prepared and I certainly
24 welcome any questions.

25 CEC CHAIR WEISENMILLER: Thanks.

1 So we're actually running a little late, so if you have
2 a question go ahead.

3 CPUC COMMISSIONER RECHTSCHAFFEN: I don't have a question
4 for Dan. I just wanted, Rodger, at the end, before you left, you
5 have all the regulatory agencies here and you have expressed clearly
6 your view about use of Aliso and increasing reliance on and increasing
7 inventory, but apart from that and the request you have already made
8 to the PUC, is there anything you're expecting or needing from the
9 regulatory agencies to maximize your ability to avoid curtailments
10 in the summer and the winter? Is there anything that we need to be
11 working on? If there is, we'd like to know it now so that we don't
12 get into a problem later on.

13 MR. SCHWECKE: You know besides some of the things we
14 already talked about, if we do get in a situation that we have
15 identified work that needs to be clean on Line 4000 to bring it --
16 allow us to bring it back up in pressure. A lot of times what delays
17 the process is getting permits and getting permits from Fish and
18 Wildlife, getting permits from other agencies. So any support that
19 could be provided in that arena would be greatly appreciated once
20 we get the work identified.

21 I think -- you know I won't belabor the point on Aliso
22 Canyon. It's just making sure when we're looking at everything, we
23 are again looking at all the side effects as we move forward. Let's
24 not -- you know the old saying cut your nose off to spite your face.
25 Let's make sure we're fully aware of what happens and how it has to

1 happen because if we go in without that clear understanding of what
2 is going to happen, when it's going to happen, and how it's going
3 to happen, we could make a situation worse, so for this summer
4 anyways.

5 If we look at going forward, and I think Chairman
6 Weisenmiller brought up, you know, as we're looking at infrastructure
7 projects, I think looking at those infrastructure projects and
8 realizing that pipelines are getting older, I think there are -- we
9 have applications -- you know, I think just a full understanding of
10 the issues when we're looking at safety aspects of the pipeline and
11 the potential for replacing pipelines so that we don't have these
12 issues ongoing, that's something else to consider.

13 CEC CHAIR WEISENMILLER: Thanks. Thank you.

14 The last panel. Good afternoon.

15 DR. NAJM: Good afternoon. My name is Issam Najm. I am
16 the President of the Porter Ranch Neighborhood Council, speaking here
17 today on behalf of the Neighborhood Council and the tens of thousands
18 of residents that call Porter Ranch home.

19 I'm going to move through this quickly. It's been 928 days
20 since we all learned of the blow-out of Well SS25 and it's been 817
21 days since it's been technically capped.

22 I do want to start by saying thank you to all the entities
23 starting from Governor Brown's Office, the CEC, PUC, CAISO, and LADWP
24 for all the work that you have done so far and you continue to be
25 doing. We heard a lot of it today. I do want to make a slight note,

1 if I may. It would be wonderful if we can stop using the term "in
2 ten years" and say "by 2027," because that directive came in 2017
3 and we seem to be carrying that "ten year" forward every year, so
4 setting a year number on it would be much appreciated.

5 However, we're also -- we'd also like to be blunt and say
6 that we are very disappointed in the way SoCalGas has been responding
7 to the needs of the community as well as all the directives that have
8 been given to them. We feel that they have made every effort to stop
9 the process that we are all shooting for.

10 I also want to say that we are also greatly disappointed
11 in the number of public agencies, cities and municipalities, who may
12 be here in the room today, that's fine, who have ignored the fact
13 that this facility is a harm to a community just like their
14 communities.

15 Our position at Aliso Canyon is quite clear to everyone.
16 In November 2016, we asked Governor Brown and our elected
17 representatives to work towards the permanent closure of the
18 facility. We laid it out in our position letter and we have sent
19 -- spent a good half of our lives since then dealing with it and
20 working with it.

21 But I also know that a lot of people say what's your
22 problem, the well has been capped, why are you here, why are we doing
23 all this. I would like to answer that question today so it's clear
24 as to why we are in this fight.

25 The facility constantly leaks and we need to appreciate

1 that. This is a graph of data from CARB, CARB's website, and I
2 intentionally did not try to redraw it to make it more legible. It
3 is simply a cut-and-paste out of CARB's data. These are the
4 fly-overs over Aliso Canyon.

5 The facility releases gas even when it's not operational.
6 These are all after the well was technically capped. They stopped
7 in October 2017, I don't know why. I would like to ask CARB that
8 question, but that's a question for another day.

9 The 250-kilogram per-hour limit was set by DOGGR and the
10 PUC, and the facility cannot even meet that limit. And I would like
11 to emphasize that is an arbitrary limit that was set. And when I
12 asked where that number comes from, where DAWGR came up with that
13 number, the answer was this is what CARB considers normal for a
14 facility of this size. They basically told us CARB does not make
15 a distinction -- in that statement, my interpretation, that CARB does
16 not make a distinction whether a facility of this size is next to
17 an elementary school or in the middle of a cow pasture. Makes no
18 difference as to what is an allowable release out of a facility, and
19 I would like you to think about that.

20 We cannot be okay with that. How much will it release when
21 it's allowed to go back into the operation that the gas company is
22 looking for? But having said all that, it is not about methane. We
23 are not concerned about methane. We are concerned about all the
24 other things that this gas has with it.

25 This is a graph from CARB's monitoring station during the

1 four-month blow-out. There is a very strict relationship between
2 the benzene content and the benzene exposure and the methane release
3 out of this facility. For whatever reason, in this facility there
4 is a clear relationship between the two.

5 Benzene, as you all know, it is a silent killer. It is
6 a known human carcinogen, and there is no doubt about it. What other
7 silent killers are in this gas? As a community, we don't know. We
8 just cannot ignore this fact.

9 But benzene is not the only one based on the data that we
10 gather. This is a compilation of 29 -- and this is a partial list
11 -- of 29 chemicals that are released by Aliso on a continuous basis,
12 and this was all before the blow-out. These are from AQMD's
13 database. This is the average of 2000 to 2014 pounds per year of
14 priority pollutants, by the way. All the red bars are bars of
15 chemicals that are associated with cancer.

16 Take this list under normal releases and imagine what it
17 may have looked like during the four months of uncontrolled blow-out,
18 then put your kids in the middle of it, and you can understand why
19 we have this level of anxiety. Unfortunately, this is a topic nobody
20 talks about.

21 And one other thing, health effects data are all developed
22 on an individual-chemical basis. You ask any toxicologist, they
23 will tell you what the health effects of benzene are, they will tell
24 you what the health effects of ethylbenzene are, the effects of
25 formaldehyde. But if you ask any toxicologist, what would happen

1 if all three of them are together, they will throw their hands up
2 in the air, say: We don't have a system to answer that question.

3 And yet we are looking at this cumulative exposure of
4 toxins, and so the idea that the exposure is below what is referred
5 to as a threshold level on an individual-chemical basis is not good
6 enough, because we have a compounded effect that no one can explain
7 to us what that is.

8 They claim that Aliso is critical because gas travels at
9 20 miles per hour. San Diego does fine without a storage field a
10 hundred miles away. Call me naive, but I'd like to understand why.
11 Gas travels about a hundred miles from McDonald Island, San
12 Francisco. Is the current capacity sufficient for all conditions?
13 I am the first one to say no, and I agree with everything that's been
14 said. But can it be? Yes. Because it just takes someone who wants
15 to get there from where we are here. And I see that a lot of agencies
16 want to get there. I just wish the gas company would jump on that
17 train.

18 If I may just propose a few ideas for your consideration.
19 Talking about lowering demand, I would ask that energy generators,
20 especially LADWP, consider peak shaving at gas-fired plants,
21 especially using LNG with liquefaction. This is a reasonable,
22 long-term solution to address peak shaving and maintain that lower
23 demand during peak hours -- or product-side energy storage as they
24 see necessary for them.

25 I think it's time we talk about removing the bottleneck

1 between Honor Rancho on the LA Basin. This issue comes up every time
2 we talk about the max capacity out of the Northern Zone and Honor
3 Rancho. You cannot maximize both of them because there is a
4 bottleneck between the two. It would be good to work towards
5 removing that bottleneck.

6 For what it's worth, I would suggest considering
7 compressors in critical low-pressure zones in distribution system
8 based on hydraulic modeling.

9 On the home side, I would suggest incentivizing home owners
10 to use heat pumps, especially in new construction where a single unit
11 achieves both objectives. And I would also suggest that you
12 incentivize home owners to utilize in-home battery storage coupled
13 with rooftop solar to be able to load on the day and have some reserve
14 for nighttime to reduce the swing in pressure.

15 Another thought I would like to suggest for LADWP, if there
16 is any chance to consider a pump storage system, utilizing the lake
17 -- that I just forgot its name -- where solar energy is used to pump
18 water up during the day and bring it down during the night for
19 generation. There are projects in the state that have looked at that
20 between two water reservoirs, and that's a viable approach in the
21 long term for balancing the swings between day and night. Just a
22 thought.

23 In our opinions, and if I may be blunt, for three pipelines
24 to be down for the winter season is inexcusable and highly convenient.
25 SoCalGas has shown no interest in moving to a future without Aliso

1 Canyon. In our opinion, it's using all its resources to derail the
2 effort to implement the Governor's directive. The fact that one
3 entity owns and operates the entire transmission, storage, and
4 distribution of a majority energy resource for more than half of the
5 state is wrong and should be of concern to everyone.

6 I would suggest for the PUC to consider a proceeding to
7 separate these assets between mutually-exclusive entities that have
8 no financial connections, or for an accountable public agency to take
9 over the transmission and storage system.

10 The Neighborhood Council continues to be gravely concerned
11 about the impact the facility has had on the health and well-being
12 of our community, our families, and our children. That is the core
13 issue for us. We continue to be gravely concerned about the threat
14 this facility poses in the event of a seismic activity.

15 A repeat of the 2015 blow-out should not be acceptable to
16 anyone, and we certainly cannot accept that. The system needs to
17 be modified to do without the facility. We do urge the PUC and all
18 parties to work towards what we have coined an expedited and
19 responsible closure of the Aliso Canyon facility with a
20 clearly-defined scope and schedule, and for the cessation of oil and
21 gas operations in our backyard because Aliso storage is not the only
22 thing going on out there and we have many instances of releases
23 intentional or otherwise that were from the gas operations in the
24 system.

25 So, Mr. Chairman, I want to say Chief Justice Rehnquist

1 once said you cannot unring a bell. This bell has been rung. To
2 this community, we now know a lot more about the perils that this
3 facility creates in our midst. We cannot unlearn that fact. We
4 cannot go back to the idea that all these releases from this type
5 of facility is okay to have next to our homes and families.

6 We appreciate the effort that you're doing and we hope that
7 the schedule will be set and we're not playing back and forth on should
8 we or should we not use Aliso. Let us set that schedule, put that
9 calendar in place, and figure out the plan to implement the project
10 that needs to happen to get there. The gas company will continue
11 to make money, its stockholders will continue to have their value.
12 We're just asking for a shift in perspective, to recognize that this
13 cannot exist next to the community that exists next to it. Thank
14 you, Mr. Chairman.

15 CEC CHAIR WEISENMILLER: Thank you.

16 Our next speaker, I think we're losing ten minutes, so
17 let's go to CCST to cover that speaker. Let's cover the panel. we
18 may have follow-up questions, but at least I want to make sure we
19 have some chance for them to get their comments in.

20 MS. LONG: Great. This is Jane Long. Can you hear me?

21 CEC CHAIR WEISENMILLER: Yes, we can.

22 MS. LONG: Okay. So please change the slide.

23 So the California Council on Science and Technology, which
24 is an organization formed by the Legislature with the intent to
25 address technical and scientific issues that are associated with

1 policy from an independent point of view, so we are not advocates.
2 We assembled a committee of experts to address three questions which
3 the Legislature asked us. And those three questions had to do with
4 gas storage in the state as a whole. So we are not addressing Aliso
5 Canyon specifically.

6 Those three questions had to do with the safety, are these
7 facilities safe, what risks do they pose. The second question is
8 do we really need them for energy reliability now. And the third
9 question, given the fact that the California has aggressive climate
10 goals which will significantly change the energy system in
11 California, will we need them in the future. Please change the
12 slide.

13 So I'm not going to speak too much to the first question
14 and I'm not asking you to read this very complicated graph, but I
15 want to explain what it is. Each column of this graph, of this table
16 represents a different facility, gas storage facility of the 13
17 facilities in the state. And along -- and each row represents an
18 aspect of risk. For example, is it vulnerable to flooding or
19 landslides or has it experienced former events that were risky. And
20 what you see in color is darker colors mean that it's riskier. On
21 the face of it, a site is riskier than a site with lighter colors.

22 And so what we found, two major findings of the first
23 question, which I'll just go over very briefly and then get onto the
24 reliability issues, are that the regulations that are being put in
25 place now are vastly improving the -- they're going in the right

1 direction -- are improving the safety of issues such as caused the
2 blow-out at Aliso Canyon. And, secondly, that all of these
3 facilities are not the same. And should the state be able to reduce
4 the use of gas storage as they look at -- and these sites are all
5 now required to do risk assessments, more formal risk assessments
6 that will quantify these kind of risks, so they aren't just darker
7 colors or lighter colors but some way to actually compare them, that
8 they could use this understanding to try to -- if they want to consider
9 closing facilities, they can take the risks into account.

10 So my two messages here are that these sites are safer given
11 the new regulations, significantly safer; and, two, that they're not
12 all the same. Change the slide, please.

13 So as to the reliability question, the report is a thousand
14 pages and has a lot of information on different aspects of
15 reliability. And I'm not going to talk about all of them, but the
16 one that we found was the dominate one for determining whether or
17 not we need gas storage is the winter demand for gas. And, in
18 particular, if that winter demand was -- could be met, that all of
19 the other needs, all of the other uses of gas storage would also be
20 met. So this is a good way to look at whether or not we need --
21 currently need gas storage, because if we need it for this purpose
22 then all the other purposes are available.

23 So basically the problem is simply one of mass flow, that
24 we can import 7.5 billion cubic feet per day of gas, and there are
25 times in the winter when we need to deliver 11.8 billion cubic feet

1 per day. So over 50 percent of the -- more than the impact capacity
2 can be required on a fairly regular basis in the winter, and so meeting
3 that winter demand really requires that we have storage. Can we
4 change the slide.

5 So we looked at what it would take to replace it. And
6 basically in the very short timeframes of 2020, we didn't find any
7 easy way to replace it. We did look at both additional pipelines
8 and peak shaving units. They came closest. They cost somewhere
9 between 10 and \$15 million. They have their own risks associated
10 with them, pipelines and compressors, and whatnot, all have an
11 associated set of risks. And they do commit California to new gas
12 infrastructure, which may or may not be part of our future.

13 So -- and we also looked in a lot of policy and market
14 mechanisms and found much that they would reduce the need -- they
15 could reduce the need for gas, but they would not obviate the need
16 to have gas storage to meet the winter peak for heat. Can you change
17 the slide, please. Maybe -- I'm sorry. Could you -- well, I'll just
18 say it. Don't go back.

19 We also looked at 2030 and decided -- and came to the
20 conclusion that there would not be a sufficient change by 2030 to
21 change that conclusion.

22 So the important thing is to understand what that winter
23 peak is for. That winter peak is not caused by demand for
24 electricity, it's caused by the demand for heat. And heat in
25 California is generally provided by gas as a direct use, not through

1 electricity. And as we look at what's going to happen in the future,
2 we are looking at some of the basic policies that California has to
3 expand renewable energy. And this being at this point mostly
4 domestic solar and wind power. And these resources decline
5 dramatically in the winter, particularly wind. In California, wind
6 dies down dramatically in the winter. Solar dies down every night
7 and then dies down on average in the winter by some 60 percent.

8 So if we tried to solve this problem by electrifying heat,
9 such as with heat pumps or other electrical forms of providing heat,
10 instead of using gas, and we continue on the path of changing the
11 energy system to meet the emission guidelines by continuing to add
12 solar and wind, such as we have now, we are creating an issue because
13 those resources go down when the peak goes up. And that is part of
14 the reason why CEC -- sorry -- ISO, CalISO has required a back-up,
15 amount of back-up for electricity from gas equal to the amount of
16 renewable energy, that capacity that is also online. So please
17 change the slide.

18 So to drive this home, these horizontal lines represent
19 the peak and average electricity demand and you see for a winter month
20 and a summer month, the amount of renewable energy that is available
21 over time. And so you see in the winter some very -- some periods
22 of really no solar or wind being available. And even in the summer
23 some periods are hardly available.

24 So if we are to manage this system, we have to have some
25 kind of back-up and the back-up is basically filling in the trough

1 formed when -- when the renewable energy is not available. Next
2 slide, please. The next one, okay.

3 So to take a closer look at this, this is the January month
4 and the June month, these periods, which are known in Germany as
5 *Dunkelflaute*, which means dark doldrums, these conditions, we have
6 to think about what can provide that. And I think what I want to
7 make the point here is that it's going to be quite difficult. I have
8 clicked the slide and I think they should be animated.

9 So this -- well, you've got them all there, so that's fine.
10 On the left you see the California Energy Storage Mandate. Assuming
11 that the 1.3 gigawatts that are required actually last for six hours,
12 and you can see it's very -- that that storage mandate is not coming
13 anywhere near being able to fill in these troughs. And if you look
14 at the largest energy storage that we have right now, the hydro
15 facility at San Luis, even that is not going to come -- not going
16 to be able to -- several of these would not be able to solve the
17 problem, and several of them might be hard to come by. Next slide.

18 Oh, well, finally, there is typical battery storage, which
19 are -- has a two- to eight-hour duration. So the conclusion here
20 is that batteries and energy storage are unlikely to be able to
21 obviate the need for gas storage as a method of backing up renewable
22 energy in the winter, particularly if you want to -- and that problem
23 will be much worse if we try to electrify heat. Next slide.

24 So basically the conclusion, the high-level conclusion of
25 this report is that we don't really know yet how that system is going

1 to work in 2050 and we don't know exactly how we're going to come
2 up with a reliable system of energy that is also very low emissions.
3 And so this graph is just a cartoon of some ideas about some choices
4 that California needs to make before we can understand whether we're
5 going to need gas storage. And it also is making the point here that
6 it might not just -- might not be -- that some of these choices might
7 lead to reducing the need for methane storage, but they might not
8 reduce the need for gas storage.

9 So, for example, if you have a high amount of renewable
10 energy, and the horizontal bar, if that's your choice, then you have
11 to do a lot more to figure out how you're going to back that up. And
12 if you give -- if you say that you're going to be using carbon gas
13 to do that, then you're going to be adding carbon capture and storage
14 to the system and you're going to be using gas storage as well. And
15 if you take a path there of saying we're not going to use a lot of
16 carbon gas, then you may be doing things like building a lot of changes
17 to the kinds of intermittent renewables that you have.

18 If you, on the other hand, decide that you're not going
19 to have as much intermittent renewables and you add a lot of flexible
20 generation, such as wave power or geothermal or being in Wyoming,
21 bought Wyoming wind, then you are going to have choices that may allow
22 you to give up some gas storage, but you may also need, for example,
23 in the left-hand box some size of CCS -- (audio distortion) -- storage
24 of gas underground.

25 So I don't think this is -- this is basically not very well

1 thought out. This is just trying to give the idea, but the message
2 of the report is until we understand how these choices are going to
3 be made, we aren't going to know whether we still need gas storage
4 of some sort in the future. Next slide.

5 So the conclusion is that we need some kind of flexible
6 resources in the system. And when we know what those are and we know
7 how those work, then we'll know something about how gas storage should
8 evolve and what kind of gas storage should evolve in the future, and
9 basically we found no studies that did that. This study is based
10 on existing literature. It's a meta analysis. We didn't do any
11 modeling for this study, but some modeling studies that would examine
12 how the energy system is going to work on all time scales including
13 the seasonal time scale, needs to happen in order for California to
14 know whether it needs gas storage and what type. Change the slides.
15 I think that was my last one. Okay.

16 So I think I've said most of this, but I would probably
17 emphasize the second bullet here, that only some form of chemical
18 energy storage, so some kind of fuel, in other words, and all of these
19 require underground gas storage, can -- at this point are -- are
20 technically feasible for supplying power in the *Dunkelflaute*
21 conditions for multiple days and seasonally. There is nothing big
22 enough except that. Again, electrification of heat could cause --
23 and doing without that flexible resources will exacerbate a problem
24 and create a demand for electricity at the same time that electricity
25 output declines.

1 The solution to -- the most likely solution to eliminating
2 the need for underground gas station is more flexible,
3 nonintermittent or base load greenhouse gas resources, such as
4 geothermal, CCS, nuclear, Wyoming Wind, wave power. Those are the
5 most likely solutions to moving away from gas storage. And, finally,
6 we need a plan for -- we need a plan for that on all time scales.
7 Thanks.

8 CEC CHAIR WEISENMILLER: Thank you.

9 Let's go onto Gill Ranch.

10 MR. WEBER: Good afternoon. Thank you for giving us the
11 opportunity to present. We have far fewer slides than anybody else.
12 The next slide, please.

13 So we on the Northern California system have looked over
14 the many years about the potential opportunity to bring the abundant
15 supplies of Northern California gas supplies on the PG&E system
16 through down to the Southern California system. And, as the
17 gentleman from Porter Ranch noted, and was noted before, one of the
18 -- this is not without requiring some de-bottlenecking on the system,
19 especially from Honor Rancho into the -- into the valley there. So
20 we believe greater connectivity between the PG&E and the Southern
21 California systems could provide cost-effective storage service to
22 Southern California.

23 We have abundant storage on the Northern California
24 system. We have fully independent storage providers. I think the
25 point was made earlier about having an independent storage provider

1 in the valley as opposed to having it all completely integrated around
2 one party. That's in effect what's happening in Northern California
3 where there independent storage providers, the transmission system
4 is put off from the local distribution company at PG&E. So there
5 is a model for how that would work and there is over a hundred BcF
6 of independent storage, provider storage capacity on the PG&E system.
7 We believe that a pathway could be created. Next slide, please.

8 Using the existing system, and I'll get to a slide in
9 minute, which is my last slide, with an interconnection at a location
10 called Arvin, where the PG&E system and the interstate system come
11 close together, that a compressor station and interconnection could
12 be built to bring Northern California gas supplies onto the Southern
13 California -- or the system serving Southern California. And that
14 gas could augment the gas supplies that are coming from elsewhere
15 and provide much quicker supply of gas, as opposed to having it come
16 from the Permian or far eastern parts of the system supply.

17 So we think there is an opportunity there. We have done
18 some modeling of that. We have a pretty good idea of what it would
19 take to build a station. If you look at this map and you look at
20 where Honor Rancho is, and we're talking about, I think the gentleman
21 mentioned earlier, hundreds of miles. This is certainly within the
22 100- or 150-mile range to bring gas into the valley. So not without
23 things that needed to be done, not without hydraulic modeling that
24 needs to happen, but there is the potential there that we wanted to
25 make sure what's considered, as we're discussing the supply of gas

1 to the Southern California area and how it comes in as opposed to
2 just thinking purely of existing pipeline capacity from the east.
3 So let's move to the next slide.

4 So the next slide gives you a picture of what we're talking
5 about. So there is a PG&E Backbone Station and a Kern Mojave Station
6 that are 1400 feet apart. So this is the length of pipe and you can
7 see these are farmer's fields that this pipe would be laid in, and
8 a compressor station would most likely built on the Kern Mojave into
9 that, but could be built on the PG&E end of it as well to allow an
10 interconnection between the PG&E Backbone system, which at that point
11 is headed east and west, or the way it's designed today it's headed
12 towards the west, and that could open up an opportunity to bring gas
13 in that.

14 All of the independent storage provider facilities in the
15 Northern California system are in very rural areas. Gill Ranch is
16 30 miles to the west of Fresno. They grow grapes and pistachio trees
17 around us. It takes about three miles just to get to the nearest
18 highway. It's actually paved from Gill Ranch. Wild geese out in
19 the delta. The Central Valley is out in the -- in the delta area.
20 They're out in rural country. So we're all located in rural areas.
21 And if you go back to the CCST presentation, you will see that all
22 of us have younger wells. And one note on the presentation that Jane
23 presented, that first slide lists the average age of the Gill Ranch
24 well of 39 years, it's actually 9 years. That's a typo. So we talked
25 to CCST about when they put out their presentation a number of months

1 ago, and requested that they redact it.

2 So just so that there is no misunderstanding, all of us
3 built our wells within the last 20 years. They're well maintained.
4 And we're working to comply with the DOGGR regulations.

5 So existing capacity. This 100 Bcf of capacity exists.
6 It doesn't need to be developed. The pipeline interconnection is
7 easily built between the Backbone system and the interstate system
8 at that location. So I think as you look for reliability and look
9 at the future, we strongly recommend that there be modeling done to
10 see how this supply coming onto the Southern California system could
11 help alleviate or -- or change the thinking in terms of supplies in
12 Southern California. I think that's my last slide.

13 CEC CHAIR WEISENMILLER: Okay. Thank you.

14 Let's go onto Dave Ashuckian, speaker.

15 MR. ASHUCKIAN: Good afternoon. I'm Dave Ashuckian.
16 I'm the Director of the Efficiency Division at the California Energy
17 Commission. And although it may seem a little out of place here,
18 I'm going to talk about our 2019 Building Standards that are going
19 to be considered for adoption tomorrow.

20 The nexus is that for the first time we are going to provide
21 an all-electric option. But let me just talk here about the kind
22 of the overall goals and the progress for our standards.

23 So our 2019 Standards have been working towards the
24 long-term goal of achieving zero net energy by 2020 for residential
25 construction. But it is also working towards the goal of

1 contributing to the state's greenhouse gas goals and, in fact, a home
2 that will be constructed using the 2010 Standards will produce about
3 half of the greenhouse gas emissions that a home that was constructed
4 as recently as 2000 is consuming.

5 And, in fact, if you use an option that we're going to offer
6 for all-electric homes, the reduction in greenhouse gases is 83
7 percent. Significant reductions there.

8 We're also promoting self-utilization of the PV system by
9 encouraging demand flexibility and grid harmonization strategies.
10 we'll talk about that more in a minute.

11 And, again, for the first time, we're offering independent
12 compliance pass for both mixed fuel and all-electric homes. Mixed
13 fuel meaning natural gas and electricity, as most homes are built
14 today.

15 And, finally, we're providing the tools for local
16 governments to adopt local building ordinances that achieve zero net
17 energy through what we call the green code, or Part 11 of our reach
18 codes, that go beyond what is the minimum required for California.
19 And for the first time, again, we are changing the way local
20 ordinances can compare and adopt those standards using what we call
21 an energy design rating.

22 So we haven't ventured too far away from our primary goal
23 of efficiency. And in that energy efficiency is still our number
24 one goal for Building Standards. And, in fact, we looked to maximize
25 the cost-effectiveness of efficiency first. And that we have

1 improved a number of measures that improve the efficiency of the
2 envelope.

3 Again for the first time, we are going to require PV on
4 every residential construction home in California and that is
5 considered to be cost-effective based on the long-term rate
6 projections as well as the cost of -- the current cost of PV in all
7 16 climate zones in California.

8 And, finally, we are offering options for grid
9 harmonization that include batteries and other onsite storage
10 options that improve the interaction with the grid, so that we try
11 to minimize the actual load from the grid.

12 As I mentioned, for the first time it's possible now for
13 builders to build an all-electric home and not even have gas connected
14 to the building at all. The impetus of heat pump water heaters and
15 heat pump HVAC systems have gotten to the point where they are
16 considered to be cost-effective, providing that they also make sure
17 that there is enough PV to offset the additional electric load as
18 well as making sure that there is a couple more measures that improve
19 the efficiency so that that load is reduced slightly more. But in
20 fact we'll have an option now where a builder could build an
21 all-electric home from the start.

22 And we wanted to make sure that requiring or building an
23 all-electric home wouldn't require solar panels increase in size to
24 the extent that we would actually discourage the construction of
25 all-electric homes. So there is again the analysis that shows that

1 you don't have to increase the size of the panels to achieve the
2 all-electric homes requirements.

3 Now that I mentioned -- oops, let's see. It jumped a bunch
4 of slides here. I will go back. Sorry. Not going back.

5 So, as I mentioned, there are two parallel compliance
6 paths. What we have is called a prescriptive path. That is a
7 mechanism where you just meet the desired standards of a home and
8 you put those measures in and a builder can build the home as-is.
9 We also have what's called a performance path where builders can
10 design the home using different measures, different mechanisms so
11 that if they want to tailor or customize the home away from the
12 standard design, they are well to do that. Literally, they only have
13 to require a heat pump water heater that is tier 3 in order to meet
14 or exceed the standard design for the all-electric home, as one
15 option. Or they can actually put in a compact hot water distribution
16 system and a heat recovery drain system in order to achieve that
17 additional efficiency to make that all-electric home as efficient
18 as the mixed-fuel home.

19 Is there someplace I should be pointing this thing?
20 Because it's not -- okay.

21 Again for PV sizing, for Part 6, that's the requirements
22 under our mandatory requirements. The requirement is that the PV
23 system net out only the electric load, so we're not achieving the
24 full zero net energy as a result of the gas consumption, but we are
25 achieving zero net electricity with these 2019 Standards. And, in

1 fact, if a customer wants to install a larger PV system, we are not
2 giving increased credit so that they're offsetting additional
3 benefits of efficiency by putting in more panels. We don't want
4 people to build giant systems with lots of PV and not an efficient
5 home, so that if the system isn't working properly they're actually
6 going to end up relying on the grid more significantly.

7 And, again, the option is if you want to install a battery
8 system, we are going to give credit to a battery system that utilizes
9 the onsite PV generation, again in an effort to maximize the onsite
10 consumption and utilization of that energy such that it minimizes
11 the load on the grid.

12 And, finally, we have changed the way the mechanisms are
13 evaluated for compliance. We are using what we call an energy design
14 rating. We have a model that identifies what the energy consumption
15 is. We have separate scores for the efficiency elements that a
16 builder would incorporate and a separate score for a PV system. And
17 obviously the more efficiency elements you incorporate, the lower
18 score. And the more PV you put on, the lower the score. But there
19 is a minimum required PV -- efficiency element and a required PV
20 element such that you're not trading off between PV and efficiency,
21 to make sure that the house is as efficient as possible, as well as
22 having the minimum size PV. And, again, builders can use any
23 combination of those to achieve compliance.

24 The benefit of the energy design rating is that if a local
25 organization wants to adopt what we call local ordinances that go

1 beyond our standards, they can simply choose an energy design rating
2 that is more stringent than our standard requirement and make it very
3 simple, they can go from any points to a significant level higher
4 than what our minimum requirements are.

5 I will add that there are about eight cities and counties
6 in the state who have already adopted local ordinances that exceed
7 our standards, that actually require PV today. Those cover about
8 ten percent of the state's population. And so, you know, expanding
9 that and, again, these standards will make it even easier for that
10 to happen, especially as the building code promotes the full
11 electrification of homes. Next slide.

12 Next steps are we are scheduled to consider adopting these
13 standards tomorrow at the Commission. After that they go to the
14 Building Standards Commission, which will approve them for
15 incorporation into the Building Code. And the effective date of the
16 standards will be January 1, 2020.

17 However, I do want to point out that as of today, any time
18 a local jurisdiction can adopt a local ordinance, it has to be
19 reviewed and approved by the Energy Commission to ensure that it is
20 at least as efficient as the Energy Commission's minimum standards,
21 but any local ordinance can be adopted today that would exceed our
22 standards and achieve the full electrification of homes and that
23 would essentially help mitigate the long-term challenge with
24 reducing the gas load on Aliso Canyon.

25 And that concludes my presentation.

1 CEC CHAIR WEISENMILLER: Thanks, Dave.

2 So let me see if anyone has any questions for anyone on
3 this panel.

4 CPUC COMMISSIONER RANDOLPH: I just had a question for Dr.
5 Najm.

6 Can you talk a little bit more about your suggestion about
7 the compressors at the low pressure points in a distribution system?

8 DR. NAJM: Sure. The analysis that was done in the
9 technical assessment last year, and I assume it's in this one here,
10 where the gas company does hydraulic modeling and looks at the system
11 wide and defines there is a critical point where if you draw any more,
12 the pressure is going to go below that critical level. So it's a
13 pressure bottleneck in the system at that location. And so the idea
14 is, is there any work being done to consider removing that bottleneck
15 by adding a compressor at that location to remove that pressure
16 restriction and allow you to move more gas through that point.

17 CEC CHAIR WEISENMILLER: Okay. So let's go to public
18 comment. Let's start with EDF. Please.

19 MS. BURGA: Hello. My name is Irene Burga. And I am a
20 California Oil and Gas Program Manager for the Environmental Defense
21 Fund. And EDF is a national environmental nonprofit.

22 So, first, let me start by thanking the Commission and the
23 joint energy agencies for their continued commitment to providing
24 communities and organizations like us with information on their
25 ongoing evaluation over the impact of Aliso Canyon on the region's

1 energy reliability.

2 I also want to recognize the importance of the analysis
3 conducted by the California Council on Science and Technology that
4 laid out the implications of both maintaining the status quo and the
5 pitfalls of not taking into account a systems-wide approach to
6 planning for economy-wide decarbonization, in particular, the fact
7 that we may find ourselves even more reliant on storage for energy
8 system reliability if we don't plan for thoughtful reduction in gas
9 demand for both thermal and electric needs.

10 One of the issues that EDF has paid a lot of attention to
11 in the period after the Aliso Canyon disaster are the energy market
12 rules, which led to the region's heavy reliance on natural gas storage
13 for supply reliability and some of the options available to reduce
14 it. In particular, we have focused on the opportunity to reduce the
15 need for natural gas storage to act as the unquestioned supply source
16 for firm gas deliveries across the region. Furthermore, we evaluate
17 how the region's heavy reliance on storage, a resource which supplies
18 regional powerplants with on-demand gas without those plants having
19 to pay for that service, undermines the price signals which could
20 spur investments in clean energy resources that can also supply the
21 market that gas-fired plants are supplying.

22 In our analysis, we see that although it may be possible
23 to manage the risk of future disasters through comprehensive safety
24 and integrity standards, that simply is not enough. Rather,
25 California needs to also implement key enablers for reducing peak

1 and base load gas demand through tools available to it now, some of
2 which we have heard today such as through better use of the billions
3 of dollars worth of investment in advanced metering technology and
4 infrastructure for conducting both better day-ahead and real time
5 forecasts of demand, both of which will reduce reliance on storage
6 as a source of supply when under forecast occurs and as a source of
7 market when gases are parked in storage because of over forecast.

8 So we would -- we should be required -- requiring
9 utilities, such as SoCalGas, to modernize their gas-acquisition
10 systems to create real time transparency in gas pricing, and so to
11 build out the systems needed to accurately price the value of
12 guaranteed gas deliveries to electric generators. Until the joint
13 energy agencies develop and implement strategies to reduce both the
14 need for gas and gas storage to provide volumes of energy to meet
15 energy demands, the system overall will remain vulnerable to the
16 events like what happened in Aliso Canyon.

17 So thank you and I hope you consider these comments.

18 CEC CHAIR WEISENMILLER: Okay. Great. Thank you.

19 It turns out our court reporter needs a five-minute break
20 -- yea, you don't? Okay.

21 THE REPORTER: I had -- I had to leave, so I took it.

22 CEC CHAIR WEISENMILLER: You took it, okay, good. Okay,
23 good.

24 THE REPORTER: I took it.

25 CEC CHAIR WEISENMILLER: Good, that's good. Do it.

1 So let's go on to the next public comment. Also from
2 Porter Ranch.

3 MR. PAKUCKO: Also, did I miss somebody? So my name is
4 Matt Pakucko, of Porter Ranch, a Note Valley (phonetic) resident for
5 ten years, and President of a nonprofit called Save Porter Ranch.

6 So no one seems to have addressed the manipulation of the
7 gas orders by SoCalGas that preceded at least two of the times when
8 they used the Aliso facility. And there is public data that shows
9 that they did not order enough gas on at least two occasions and
10 causing this false need for Aliso Canyon. I think you guys still
11 need to look into that.

12 Also let's do a little root cause analysis on what's going
13 on here today. Ed Randolph earlier mentioned what's really going
14 on with the SoCalGas system. Is SoCalGas properly managing their
15 system. We could also apply that to the CPUC. Don't take this as
16 any kind of offense, because there's things that if we're looking
17 at, you know, a system problem, we need to look at the regulators
18 as well.

19 I mean the Baker testimony back in 2014, where SoCalGas
20 themselves, where they have a negative well integrity trend, which
21 means deterioration of their facility, there was no action by the
22 CPUC, and then SoCalGas did no maintenance, followed almost
23 immediately by the gas blow-out. Perhaps that all had been -- that
24 disaster could have been avoided if all agencies had just, you know,
25 been doing their jobs better, DOGGR included.

1 So now SoCalGas has been crying about they don't have --
2 it's very time consuming to repair their remote pipelines. Now do
3 they have the resources to do this? Now during the blow-out, the
4 problem with stopping that blow-out is SoCalGas did not have
5 resources available to manage the problem at their facility and thus
6 part of the four-month blow-out because they couldn't deal with it.
7 So they and perhaps PUC still haven't learned, because now SoCalGas
8 is out there flailing away saying, hey, we can't repair our pipelines.
9 They and you, I suppose, need to learn how to address that better,
10 how to regulate that. I mean that's your job, to make sure that stuff
11 can get done.

12 There has been a lot of scrutiny about SoCalGas and it's
13 very well deserved, but we really should look at what the CPUC is
14 doing as well. The safety review from SB380, come on, guys, this
15 is unbelievable that this happened. You guys had the final authority
16 over that safety review being approved. DOGGR said, hey, it's good
17 to go, the facility is safe. You guys agreed, you concurred.
18 Followed immediately within two weeks, 33 percent of their wells
19 failed, 33 percent. I mean, come on. Who's minding the store?
20 Were any of you involved in that decision that, hey, this place is
21 safe. DOGGR was on the end there. That is like -- that's
22 mind-blowing to all of us.

23 So I mean I think if we're talking about reliability, the
24 CPUC needs to dig into itself and see if you guys are reliable. Thank
25 you.

1 CEC CHAIR WEISENMILLER: Thank you.

2 Jane Fowler.

3 MS. FOWLER: Hello. Thank you for being here. And I
4 appreciate the questions you are asking these specialists today.

5 I live in Grenada Hills. And, okay, this morning I woke
6 up, I hadn't opened my eyes yet, and I felt this -- you know what
7 I feel on many occasions when something is leaking, this like feeling
8 of -- I can only describe it as like electric feeling. Everything
9 is tingling and pulsing. And, you know, before I open my eyes, I
10 feel like scared because I don't know what today I'm going to feel.
11 You know, I have a headache, my body aches. I'm lethargic, nauseous
12 all the time. My sense of taste is gone, sore throat. And this is
13 -- we're not in the blow-out. You know, this is two and a half years
14 later. And I'm still feeling, you know, physical aches and pains.
15 And, I'm sorry, it's hard to share this. But, you know, and I've
16 been trying to share, but, you know, it just takes a toll on your
17 body.

18 Two and a half years is what they're saying has been leaking
19 but, you know, I feel like it's been a little longer than that. But,
20 anyway, it takes a toll on your body, it takes a toll on your mind,
21 it takes on you psychologically. I think neurologically something
22 is going on. This is, you know, pretty much ruining my life. It's
23 hard to explain. Like because you're feeling so bad all the time
24 or quite a bit of the time, it changes the way you relate to people.

25 For example, I don't really say, say, I'd like to go out

1 to coffee or, you know, go to this or that with anybody because I'm
2 afraid that I'll commit to something and I'll have to uncommit because
3 I'm not feeling well. And I don't want to be that person who is always
4 canceling.

5 It changes my relationship with my husband because, you
6 know, I don't want to be seen or heard or, you know, I feel like I'm
7 going insane, you know, like something hurts, which I don't want to
8 be that person. I want to be strong, I want to be, you know, able
9 to function.

10 It changes my relationship with my kids. Like I don't want
11 to talk to them because I don't want them to say, mom, how are you
12 doing, and I don't want to say anything negative. I want to say
13 something positive.

14 So please think of us at Aliso Canyon that whether it's
15 manufactured or not, or whatever, something is still leaking and we
16 need help. Please.

17 CEC CHAIR WEISENMILLER: Thank you.

18 Helen.

19 MS. ATTAI: Hi. My name is Helen Attai and I'm the --
20 everything I wanted to say Dr. Issam Najm covered it very eloquently.
21 I cannot speak like him, but since I'm here I'm going to just give
22 you a few words.

23 The first thing is pipelines. We need to know why those
24 lines are out, why they have been out for so long, why is it that
25 they cannot fix it. That's unacceptable. I mean taking -- it's been

1 more than six months already, just pipelines. Can they fix it.

2 And why is it that they are insisting on doing a root cause
3 analysis on those pipelines in the middle of nowhere, but they did
4 not want to do a root cause analysis on Aliso Canyon, which is really
5 close to all these homes that we are living in. This thing doesn't
6 make sense.

7 Another thing, CPUC, I hope you guys don't get offended,
8 but this is the fact, just listen to this statement. You guys have
9 appointed a judge to do a reliability -- the judge is saying that
10 SoCalGas needs to do a reliability study on SoCalGas to see if a
11 SoCalGas facility is needed or not. Do you see the conflict of
12 interest in that or is it just me? I mean this doesn't make any sense.
13 You don't realize that you're studying yourself. Of course you know
14 what the result is going to be. I mean, come on, you guys, give us
15 a little credit.

16 And I'm sitting here listening to everybody and
17 unfortunately all I hear is about pipe savings, savings, you know,
18 lessen or worsen, your maximum amount of gas, gas balance, and all
19 that. But the only person I heard brought up the safety issue and
20 our health was Dr. Issam Najm. That is not being taken as any factor,
21 you know, when you guys are talking about it or making decisions,
22 and it's a big, big, huge factor. Six teachers from one school, six
23 teachers from one school have died within just a mile from this
24 facility. So many people are sick, so many people are dead, so many
25 pets are dead.

1 My own husband, he is a very healthy tennis player, fit
2 guy, I have to call 911 on him for him since December twice and once
3 taken to urgent care. I have taken my daughter to urgent care. I
4 have been sick. We are suffering there.

5 I don't understand what part of that you guys don't get.
6 We having here. This is my second year in a row being here. And
7 one other thing I would really appreciate, if you guys come to our
8 community for this meeting. I don't see any person on that panel,
9 I don't know why they're in this building and why they are here. If
10 you want to talk about --

11 (Chime.)

12 MS. ATTAI: Well, you guys, you're one, and it's all so
13 many of us. You can come to our neighborhood and we can talk about
14 Aliso there, please. So more --

15 CEC CHAIR WEISENMILLER: Thank you.

16 MS. ATTAI: -- people can participate. Thank you.

17 CEC CHAIR WEISENMILLER: Okay. Joe Crecco.

18 MR. CRECCO: Good afternoon. I'll be brief. I just
19 wanted to take an opportunity and say thank you very much for working
20 through the reliability issues down in SoCal.

21 And just wanted to remind folks that as with Middle River
22 Power, Senior VP of that entity, we own and operate the High Desert
23 Facility as an NQC of 830 megawatts. We're also building out a solar
24 facility with storage there and also own the coastal geothermal site.
25 I just want to remind folks that there are alternatives. It's

1 definitely not a local need but for different flex opportunities and
2 system. We do have High Desert there. It's run off the current
3 system. It's not off of Aliso (phonetic), so just want to be -- have
4 folks be mindful that we do deliver into the Victor sub, and from
5 that allow the maintenance of -- or maintain reliability for the
6 system.

7 We also want to let folks know that we are spending a bunch
8 of money in outages because we do believe in the importance and the
9 need of reliability in the South, so we're spending over \$40 million
10 over a two-year period to upgrade these facilities because, based
11 on what Neil Millar said, understanding how the duct curve is working,
12 we have turned a base load facility into a peaking unit. We're a
13 three-by-one unit at High Desert. Semens units, we've now converted
14 to a full peaking unit. And over the last couple years, we have been
15 running pretty much on the -- from hour 17 through 24, and we're
16 improving times to start up and shut down. So just really wanted
17 to take two minutes to let you guys know that there is and are reliable
18 options to help support reliability in Southern California. So if
19 there are any questions, I'd be on the dance room.

20 CEC CHAIR WEISENMILLER: Thank you.

21 Is there anyone else in the room?

22 Then let's go to the telephone line. We have one party
23 on the line.

24 MS. RAITT: Yes. We have Andrew Krowne.

25 Do you want to go ahead, Andrew?

1 MR. KROWNE: Yes. Hi. Can everyone hear me?

2 CEC CHAIR WEISENMILLER: Yes.

3 MR. KROWNE: Hello. Thank you very much for taking my
4 comment here through the web. Thank you to all the parties that are
5 having this session today.

6 I want to point out, as has been done by other members in
7 the room, there is a human cost to running these facilities. There
8 is a human cost in health which is not only measured in money spent
9 to procure one's health but also in the quality of life. And those
10 folks who live anywhere near these facilities, whether it be Honor
11 Rancho or Aliso Canyon or anywhere else, pay a very grave price. That
12 is something that must be factored into these types of analysis.

13 It is very distressing as a member, as a family man who
14 went through the Aliso Canyon blow-out that the gas company is very
15 quick to do a root cause analysis on a pipeline in the middle of
16 nowhere, yet years later and through much consternation we still
17 don't know what's going on with Aliso Canyon, and every year we have
18 these meetings with the need to rush Aliso back to full service.
19 There is something just not right there.

20 I also find it very troubling that we cannot get a number
21 of very important pipelines back into service very quickly. This
22 is a company with immense financial resources. There should be
23 absolutely no issue with obtaining the very best crews to do the very
24 best and quickest work on these essential pipelines. So to sit here
25 and listen to and hear that a pipeline has been offline, I believe

1 I have heard since 2011, is just befuddling to me.

2 Why is it that the PUC and all the organizations are willing
3 to give the gas company an open-ended time line to get these resources
4 back online? On should be pushed back online as quickly as possible.

5 Now in the wake of all this I developed an application to
6 track the health issues of folks who live around Aliso Canyon.
7 That's about two million people. The data we get is staggering and
8 must be compiled and used in this type of analysis. There are
9 thousands of people reporting thousands -- tens of thousands of
10 symptoms due to releases related to Aliso Canyon and those some of
11 those specific chemicals were pointed out by Dr. Najm -- and thank
12 you very much for that presentation.

13 I would be more than happy to work with any of the
14 organizations there today in order to provide data so that you can
15 see the human costs to these activities. Thank you very much for
16 your time.

17 CEC CHAIR WEISENMILLER: Okay. Thank you.

18 Anyone else on the line?

19 Okay, then we're going to transition to -- to come up.

20 I want to thank everyone for their participation today.
21 It's been a good opportunity for us to delve into these issues and
22 to listen to concerns, so thanks. And, again, written comments are
23 due May 22nd. So, please. Thanks again.

24 (The meeting was adjourned at 4:42 o'clock p.m.)

25 - o O o -

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 1st day of June, 2018.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

June 1, 2018