

DOCKETED

Docket Number:	15-MISC-04
Project Title:	Fuels and Transportation Merit Review
TN #:	224645
Document Title:	Transcript of 08062018 Workshop
Description:	LEAD COMMISSIONER FUELS AND TRANSPORTATION TECHNOLOGY MERIT REVIEW WORKSHOP: MANUFACTURING AND WORKFORCE DEVELOPMENT
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	9/4/2018 11:21:22 AM
Docketed Date:	9/4/2018

CALIFORNIA ENERGY COMMISSION
LEAD COMMISSIONER WORKSHOP

In the Matter of:)	Docket No. 15-MISC-04
)	
)	
)	
<i>Fuels and Transportation</i>)	WORKSHOP: RE: Fuels and
<i>Technology Merit Review:</i>)	Transportation Technology
<i>Manufacturing and Workforce</i>)	Merit Review:
<i>Development</i>)	Manufacturing and
_____)	Workforce Development

NOTICE OF LEAD COMMISSIONER FUELS AND TRANSPORTATION
TECHNOLOGY MERIT REVIEW WORKSHOP:
MANUFACTURING AND WORKFORCE DEVELOPMENT

CALIFORNIA ENERGY COMMISSION
THE WARREN-ALQUIST STATE ENERGY BUILDING
ART ROSENFELD HEARING ROOM - FIRST FLOOR
1516 NINTH STREET
SACRAMENTO, CALIFORNIA 95814

MONDAY, AUGUST 6, 2018

10:00 A.M.

Reported By:
Peter Petty

APPEARANCES

COMMISSIONERS:

Janea Scott, Lead Commissioner, Transportation

STAFF:

Tami Haas, Fuels and Transportation Division
Tim Olson, Fuels and Transportation Division
Akasha Khalsa, Advanced Fuel Production Office

PRESENTERS:

Kent Leacock, Proterra
Peter Ward, Alternative Fuels Advocates, LLC/Efficient
Drivetrains, Inc. (EDI)
Mike Simon, TransPower
Deborah Donahue, ChargePoint
John Frala, Rio Hondo College

REVIEWERS/COMMENTERS

Margaret Mann, National Renewable Energy Lab, NREL
Debra Sandor, NREL
Frank Ramirez, GO-Biz

PUBLIC COMMENT:

Ethan Sprague, FreeWire Technologies
Lisa McGhee, San Diego Airport Parking
Erick Karlen, Greenlots
Patty DiNapoli, Cyber Switching, Inc.
*Oleg Logvinov, IoTecha

I N D E X

	<u>Page</u>
1) Introduction Tami Haas, Energy Commission, Fuels and Transportation Division	5
2) Opening Remarks Janea A. Scott, Energy Commission, Lead Commissioner for Transportation	7
3) Staff Presentation Tami Haas, Tim Olson, Summary of May 4, 2018 Roundtable: "Bringing Zero-Emission Infrastructure Technology Manufacturing to California"	9
4) Project Presentations and Review - Medium- and Heavy-Duty Vehicles, Infrastructure and Workforce Development	
Kent Leacock, Director Government Relations, Proterra	19
Peter Ward, Projects Manager, Efficient Drivetrains, Inc.	55
5) Lunch	82
6) Project Presentations and Review - Medium- and Heavy-Duty Vehicles, Infrastructure and Workforce Development	82
Mike Simon, President and CEO, TransPower	

I N D E X (Cont.)

7) Project Presentation and Review - ZEV Infrastructure	117
Deborah Donahue, Vice President, Operations Manager, ChargePoint	
8) Project Presentation and Review - Workforce Training	135
John Frala, Professor, Alternative Fuels and Electric/Fuel Cell Vehicles Rio Hondo College	
9) Public Comments	165
Adjourn	178
Court Reporter's Certification	179
Transcriber's Certification	180

P R O C E E D I N G S

AUGUST 6, 2018

10:02 a.m.

MS. HAAS: We'd like to begin our workshop today to discuss Manufacturing and Workforce Development Project successes. The workshop will be led by Commissioner Janea Scott, who is the Energy Commission's Lead Commissioner overseeing transportation topics and issues. My name is Tami Haas with the Fuels and Transportation Division.

The workshop should last until about mid-afternoon and we'll have one break at the lunch hour. Feel free to use the restrooms located on the first floor outside the hearing room and the snack vending machines on the second floor. In the case of emergency, we'll proceed out the P street doors, turn left and head over to the park at 9th and P.

This workshop is one of a series of activities conducted as part of an ongoing Energy Commission function which we call the Technology Merit Review. We will focus on the merits of manufacturing and workforce development projects co-funded by the Commission's Alternative and Renewable Fuel and Vehicle Technologies Program, or the ARFVTP.

Previously, we completed merit review workshops on biofuels and biomethane production plants in September 2015, medium and heavy-duty vehicles in December of 2015

1 and electric vehicle chargers in April of 2016.

2 To begin, Commissioner Scott will provide some
3 overarching remarks and Tim Olson and I will describe the
4 context for our programs, historical spending and upcoming
5 plans for the future. You can see from the agenda that the
6 rest of the workshop will involve a series of presentations
7 by funding recipients and comments from independent
8 reviewers after each presentation.

9 The agenda lists the order of each presentation
10 and review session, which should last no more than 40
11 minutes for each segment.

12 After all the presentations and review comments
13 are completed, we have scheduled an open general comment
14 period toward the end of the day. If you would like to
15 speak during the general comment period, please fill out a
16 blue card available in the room and hand it to me, or if
17 you are participating remotely identify yourself by WebEx
18 or the phone.

19 I would like to remind you that a verbatim
20 transcript of the workshop discussion will be made
21 available in our public docket. Audio and PowerPoint
22 presentations are broadcast and shown on WebEx. Please
23 speak into the microphone so everyone can hear you clearly.
24 The transcriber would appreciate getting a business card
25 from speakers and commenters to ensure correct spelling of

1 names. You may also submit comments in writing to an e-
2 filing process for inclusion in our docket as noted on this
3 slide.

4 The agenda and copies of the PowerPoint
5 presentations are available on the table near the hearing
6 room entry and will be posted on our website under the
7 Transportation Alternative Fuels/Technology Merit Review.

8 Now, I'd like to introduce Commissioner Janea
9 Scott to begin the workshop. Thank you.

10 COMMISSIONER SCOTT: Great. Thank you and good
11 morning.

12 Good morning, for those of you who are sitting
13 around the table, you have to pull your mic a little bit
14 closer to you than it is right now and just push it so it
15 turns green and that's how you know that it's on.

16 So anyhow it's my pleasure to chair today's merit
17 review workshop, highlighting the progress and success of
18 the Alternative and Renewable Transportation, Manufacturing
19 and Workforce Development programs, funded by our
20 Alternative and Renewable Fuel and Vehicle Technology
21 Program, or the ARFVTP.

22 We look forward to hearing testimonials from some
23 of the funding recipients who have been willing to share
24 their experiences, insights and remaining challenges. And
25 we encourage others to submit comments in our public

1 docket.

2 Manufacturing and workforce development
3 transcends several alternative fuel, vehicle and
4 infrastructure categories and our previous funding awards
5 reflects that diversity. The information provided today
6 will help us deliberate on the structure and deployment of
7 upcoming funding solicitations for related topics.

8 We also appreciate the contributions that all of
9 our award recipients have made to achieve multiple policy
10 and business objectives. And today we will hear from five
11 co-funding partners about their experiences and insights
12 including descriptions of successful projects, key reasons
13 for progress and success, and how obstacles were overcome,
14 the significance of their efforts to advance the electric
15 vehicle market growth, pitfalls for all of us to avoid,
16 successful business models, insights about market expansion
17 and some of the remaining challenges that we face.

18 We also appreciate the participation of
19 distinguished members of our Merit Review Panel, who will
20 have opportunities to make comments, ask questions and
21 probe into the details of each project.

22 The commitment of time spent by the presenters
23 and reviewers is of great value to us and especially note
24 that many of you have traveled long distances to join us,
25 so thank you very much for that.

1 I also want to thank Tim and Tami for putting
2 together a great day for us. So thanks everybody for
3 joining the workshop and I'm very much looking forward to
4 the presentations, comments and recommendations. And with
5 that, I'm going to turn this over to Tim Olson.

6 (Colloquy re: set up for slide show.)

7 MR. OLSON: Okay, we're going to share this
8 presentation. Tami's going to do the front end of this and
9 then I'll come in after that.

10 MS. HAAS: Okay. The origins in the statute, the
11 ARFVTP was established by the California Assembly Bill 118,
12 in the year 2007. The program was set up to develop and
13 deploy innovative technologies that transform California's
14 fuel and vehicle types to help attain the state's climate
15 change policies.

16 In addition, the program has complementary goals
17 of improving air quality, increasing alternative fuel use,
18 reducing petroleum dependence and promoting economic
19 development.

20 Some of the guiding policies and goals,
21 California has enacted a number of recent laws and
22 regulations in its efforts to combat climate change,
23 including the ones listed on this slide. Perhaps the most
24 notable of there are AB 32 and SB 32, which set statewide
25 greenhouse gas emission reduction targets. To outline the

1 approach that California will take to achieve these
2 targets, the California Air Resources Board developed the
3 State Climate Change Scoping Plan.

4 Similarly, Senate Bill 1383 and the California
5 short-lived Climate Pollutant Reduction Strategy sets
6 targets to reduce emissions of pollutants such as methane.
7 Other state policies, such as the Low-Carbon Fuel Standard
8 and zero emission vehicle deployment targets set
9 supplemental goals that will help meet the state's climate
10 change commitment. Achieving these goals will require
11 investments that achieve both short-term emission
12 reductions as well as long-term transformation of
13 California's transportation sector to zero emission
14 technologies.

15 Projects to date, the Energy Commission has
16 provided over \$750 million in funding through the ARFVTP.
17 I would like to focus your attention on the manufacturing
18 and workforce numbers, showing investments of \$93.5 million
19 to date.

20 Manufacturing and workforce development, the
21 feature funding focus, the 2018-19 Investment Plan approved
22 at the Commission's May business meeting included an \$8.5
23 million allocation to support manufacturing operations and
24 workforce training needs for zero emission vehicle
25 infrastructure. This category will fund projects that

1 expand instate manufacturing facilities for ZEV
2 infrastructure, as well as provide workforce development
3 support for these and other types of ZEV infrastructure
4 related projects. These types of projects will create jobs
5 and provide an economic benefit for the state while
6 indirectly supporting the ARFVTP's infrastructure
7 investments.

8 We also expect to pursue opportunities in this
9 funding that specifically benefit low-income and
10 disadvantaged communities to further the state's equity
11 goals.

12 Manufacturing and workforce development, the
13 current funding allocations, for the current year, 2017-
14 '18, \$4.9 million was allocated to manufacturing while 3.4
15 million will go to workforce training and development
16 projects. Plans for these funding allocations are under
17 development and will be released later this year.

18 And now I turn it over to Tim Olson.

19 MR. OLSON: Okay. Thank you, Tami.

20 So from this point I'd like to present some of
21 the findings of a workshop we conducted on May 4th, 2018,
22 in Long Beach. It was specifically on manufacturing and
23 workforce development related to zero emission vehicle
24 infrastructure, meaning electric and hydrogen, so kind of a
25 focused area. And trying to get some insights about going

1 forward where the stakeholders thought we should
2 concentrate future efforts.

3 And so just to start that out, two of our panel
4 members here -- I'll introduce the panel members after this
5 presentation -- but two of our panel members represent the
6 National Renewable Energy Lab and specifically the Clean
7 Energy Manufacturing Analysis Center. And they've done a
8 lot of different studies on battery technology, solar
9 photovoltaics, a lot of power generation, wind power.

10 And looking specifically at what key factors
11 stimulate and reflect the growth of manufacturing or
12 expansion of manufacturing in those other areas and we
13 thought they had some good insights on that. This is what
14 their studies show. I'm summarizing 200-page studies in
15 one three bullets here, right?

16 But the key factors that I picked up from their
17 work that we think is true in the other areas, in this case
18 manufacturing of other products here in California, is that
19 number one there's a demonstrated demand for the products.
20 That number two, to achieve the best price reduction that
21 achieving economy of scale manufacturing, there's a certain
22 threshold for individual products. But achieving that is a
23 key thing and that gaining access to capital to finance, in
24 essence cheap capital, to finance that manufacturing.
25 Those are the three things that I characterize in my

1 reading of their studies.

2 And so we were using that as kind of a framework
3 for the ZEV infrastructure. If we're a market, if we're a
4 consumption market for those products in this state, how
5 much of the manufacturing could be here? And then if you
6 take that idea, we want to expand that to all the other
7 alternative fuel categories and products that we are using
8 here and buying in large numbers. We tend to be a large
9 part of the market.

10 So that first point, demonstrated demand and
11 growth, this is an indication. This is what we presented
12 in that workshop on May 4th, indication demand growth, in
13 this case electric vehicle, passenger electric vehicle
14 growth in California. And you can see it's on an upward
15 trend. It isn't nationwide, but at this point I think this
16 is at the end of June 2018, 420,000 electric vehicles in
17 this state. And I think we're over 21,000 charge
18 connectors and some of those are dual bollards. But you
19 can see it's about 45, almost 50 percent, of the U.S.
20 market.

21 This is an indication, at least for California,
22 demand growth and kind of in response to that kind of
23 finding the NREL came up with.

24 So in that I'm going to kind of go through some
25 of the findings of that workshop now. We had identified,

1 from our surveys of about 30 companies and those who
2 participated, use of the areas that the stakeholders
3 thought we should focus on or they are prospects for
4 manufacturing or workforce development. And remember this
5 is just around the ZEV infrastructure and many of the
6 companies here do some of that, but they also make vehicles
7 and vehicle component parts and we're interested in that
8 insight today.

9 So you can see hydrogen, renewable hydrogen
10 production is one of those areas that is a requirement. A
11 third of all hydrogen used in the state in transportation,
12 if the state government infrastructure is involved in it,
13 it has to be renewable. There is a desire for renewable
14 hydrogen. There are a couple of different ways of doing
15 that. It's one of these things that's an emerging market.
16 And our idea here is be at the front end in manufacturing
17 too, both the technology and the fuel.

18 We also found the next two items, software design
19 and distributed energy. That networking was a key thing
20 for business models, combining the electric charging with
21 grid management, demand management, storage. They had
22 markets on renewable electricity that that data sharing and
23 that information and networking through engineering and
24 software development was a key factor. And so we include
25 that in the supply chain of manufacturing. That's just one

1 of the elements.

2 And then also you have at kind of the back end of
3 this case, battery technology in passenger vehicles. When
4 they're ready for change out they still have about 80
5 percent life and then there's a market for that.

6 We also found in this service maintenance,
7 installation, power upgrades. These were factors in either
8 making a product or service that in essence, we should
9 include in the definition of what we do, in the future.

10 And then of course the support infrastructure for
11 all that electric vehicle. This goes into the utility
12 systems, so look holistically is the message we received.

13 And this is kind of continued on in this theme.
14 Where do we stand in manufacturing in this state compared
15 to other manufacturing? We found, I'll give you kind of a
16 brief rundown through our interviews three different kind
17 of areas. One, large-scale manufacturing trying to reach a
18 low-price point, but very little of that in California,
19 almost all of it outsourced. Those companies basically
20 said, "We're not interested in being in California. We
21 already have our manufacturing lines set up."

22 Another group of companies, "We have part of our
23 manufacturing here in the state, part in outsource, but the
24 more market growth we see here the more we want to
25 manufacture in the state." And try to figure out how to

1 compete on different stages of the supply chain is a
2 factor.

3 We also found that a couple of companies, "We're
4 doing everything in California, every single component."
5 And those tend to be startup companies looking for
6 differentiation in their product. We also found that from
7 that workshop that the partnerships with some existing
8 organizations was very important. You're going to hear
9 about some of that partnership today with Rio Hondo
10 College, John Frala will give you some background on that,
11 in interacting with some of the companies here too. And
12 then also just in some cases, just training organizations
13 tend to be local regional.

14 Some of the barriers, this is just a -- we're
15 expecting to hear some of these same kind of barriers and
16 challenges raised to us today from the group of you. And
17 for the most part California was seen as a higher-cost
18 market compared to other U.S. states and international
19 markets.

20 And there was an interest in focusing on some
21 land use planning changes and CEQA just to get projects on
22 the ground, get permitting done. And that quite often
23 location of the plant is really important on just
24 maintaining a decent cost of living for workers. And that
25 there's certain hot spots in Southern California and the

1 Bay area where that's really difficult to do that.

2 Access to capital is noted here and I'll let some
3 of the presenters today kind of wade into that a little
4 more.

5 And then this kind of point of long-term
6 commitment to policies, that as many of you know our
7 program here, the Alternative and Renewable Fuels and
8 Vehicle Technology Program is authorized through 2024, but
9 we've got to go through an annual approval in the budget
10 process and other funds are year-by-year. And some
11 programs need extensions, so that kind of telegraphing and
12 signaling that we're going to have long-term commitments in
13 important. It's difficult to do that with federal programs
14 at this point.

15 And then of course this last item, inconsistently
16 and slowness of local decision making. We heard a lot that
17 it was an awareness building, that constant awareness
18 building of what the attributes are of these different
19 technologies that had to happen and, of course, turnover in
20 those government positions. That there's a constant
21 education that has to happen.

22 I'm not going to go through all these details of
23 the recommended actions, but for the most part I think
24 you're going to hear today some similar comments that I
25 think in terms of -- we're going to take these comments to

1 heart. We're taking this workshop today as an input into
2 how we configure our future program configurations. And
3 listening to all of these ideas.

4 And I think one thing to keep in mind here, these
5 recommended actions, in essence there's no single agency
6 that can do all of these things on its own. And there's a
7 tendency to silo programs and I think what was not really
8 spoken in that previous workshop is the need for crossing
9 those silos and interacting between different
10 organizations. And that's probably something we'll spend
11 some time on. And that's kind of the presentation from May
12 4th.

13 So if you have any questions on that, or let's
14 maybe we should just move on to the next.

15 So before we do that, I'd like to introduce all
16 of the parties here today. And remember Tami's comment was
17 we're going to have a sequence of presentations and then
18 we've asked our peer review panel members to -- they had
19 received information in advance to make comments, raise
20 questions. But the rest of you can also make comments or
21 raise questions too and that discussion process will be
22 facilitated by Commissioner Scott.

23 So to the first presentation will be Kent
24 Leacock, from Proterra. That's a bus manufacturer,
25 electric bus manufacturer here in California. I'll let you

1 go through your kind of background in detail.

2 Joh, next to him in the panel is John Frala from
3 Rio Hondo College. He's involved in developing a lot of
4 trainee programs. Of course, Commissioner Scott is next to
5 him and Deborah Donahue from ChargePoint, sitting next to
6 Commissioner Scott. ChargePoint is, as many of you know,
7 an electric vehicle charger manufacturer, operator,
8 installer, maybe a financier too. Peter Ward representing
9 Efficient Drivetrains, Inc.; that's an engine development
10 company, a hybrid technology. And Mike Simon has a seat
11 here next to Tami, from TransPower, Inc. He has not
12 arrived yet, but will be here.

13 And then our peer review panel is Margaret Mann,
14 from National Renewable Energy Lab and also Debra Sandor
15 from NREL, the National Renewable Energy Lab. And then
16 sitting up front here close to the front is Frank Ramirez,
17 of the Governor's Office of Economic Development, so that's
18 who our group is today.

19 And Kent, you are welcome to either come up here
20 or sit down there and do your presentation.

21 MR. LEACOCK: Good morning everyone, I'm Kent
22 Leacock. I'm the Senior Director of Government Relations
23 and Public Policy for Proterra. I also happen to be I
24 guess, the primary liaison between Proterra and the
25 California Energy Commission as it relates to the grant

1 that we won to establish manufacturing in southern
2 California. That's where we ended up choosing to establish
3 manufacturing in Southern California, in the City of
4 Industry, for a number of reasons. We'll just go ahead and
5 get started here.

6 Just to give a little bit of background, as you
7 may or may not know Proterra is an electric bus
8 manufacturer. We manufacture the actual battery packs that
9 go into our bus out of our corporate headquarters that's
10 located in Northern California, in Burlingame. We
11 manufacture the battery packs starting at the cell level
12 then building them up and incorporating a energy management
13 system, battery monitoring, telematics, whole works.

14 Those battery packs then get drop-shipped to our
15 bus manufacturing facility in Southern California as well
16 as our original bus manufacturing facility in South
17 Carolina. That for the most part they are geographically
18 assigned for their manufacturing process. Obviously, South
19 Caroline handles the eastern half of the country, Southern
20 California handles the western half of the country, but
21 there are adjustments made based on kind of order and
22 volume of orders in various states and various transit
23 agencies.

24 We have a pretty experienced leadership team.
25 Our CEO was at Tesla. From Tesla he was recruited to

1 Kleiner Perkins, a pretty premiere investment bank located
2 in Silicon Valley. And then he led the investment, while
3 at Kleiner Perkins was one of the lead investors into
4 Proterra. And then was asked to come on board as CEO, in a
5 response to a level of stagnation that was taking place
6 about five or six years ago.

7 The rest of our senior management team has a lot
8 of experience in the automotive world, GM. And our chief
9 operating officer ramping up our manufacturing is from
10 Tesla; CFO, PricewaterhouseCoopers; our Chief Legal Officer
11 from the gaming world, EA, and then Rocket Fuel. And then
12 our Chief Commercial Officer came from an alternate fuel
13 company that some of some of you may be familiar with,
14 Propel that did biodiesel and ethanol and then he was in
15 the investment world.

16 So just a quick photo of some of our folks here.
17 That's our battery manufacturing. The battery pack
18 manufacturing team, right there in the middle, and that was
19 at the completion of the first full-on production battery
20 pack.

21 So as I mentioned we have a battery manufacturing
22 facility in Burlingame, California. And that's where they
23 build the battery packs. What you're seeing is an actual
24 module being constructed there, in Burlingame. And then we
25 have our bus manufacturing facility in L.A. County.

1 Now, why are we where we are right now? And the
2 fist component I think of that, is that battery prices have
3 come down dramatically. We were paying over \$1,000 per
4 kilowatt hours just eight or nine years ago. And now we
5 are at a stage where we are down around in between \$200 and
6 \$300 per kilowatt hour.

7 Now, that is a result of a couple of things. One
8 is the growth in the passenger market. Scale in passenger
9 vehicles have helped drive down the cost of energy storage.
10 And then as well as Proterra's growth and ability to
11 develop a very favorable contract based on volume for our
12 own cells, our own lithium ion cells.

13 And here's another big factor and it's almost
14 interesting how well it corresponds in terms of the -- this
15 is the overall battery electric bus market, not Proterra.
16 It's the entire universe. As you'll see from 2009 to about
17 2014 it was limping along. And as the growth in passenger
18 vehicles happened and the cost per kilowatt energy storage
19 went down our growth in that industry started to escalate
20 and then has been ramping up. And in fact, the transit bus
21 market has now passed the passenger vehicle market in terms
22 of electrification, electric buses versus electric
23 vehicles, as a percentage of the overall market of new car
24 sales or of new bus sales if you will.

25 We've already reached greater than 10 percent

1 share of the total transit market. The electric bus
2 industry or zero emission bus industry, I should say,
3 includes fuel cell versus what's happening in the passenger
4 world. But it's a lot easier to change the mind of one
5 fleet manager than it is individual passenger vehicle
6 purchasers.

7 So this is just to give you an idea of where
8 things are headed kind of across the U.S. We have fleets
9 across the U.S., transit fleets that is, that are committed
10 to going 100 percent electric by a date certain. And it
11 varies, but you've got the two largest transit agencies in
12 the U.S., New York and L.A., both committing to 100 percent
13 electric by a date certain followed by another of the top
14 ten in Seattle and San Francisco. But just so you know
15 it's not a phenomenon of all the big guys. Very small
16 agencies, Park City, Utah, for example; Stockton,
17 California; San Joaquin RTD; LADOT that serves just
18 Downtown L.A. and complements the service of L.A. Metro
19 that serves all of L.A. County. They're all committing to
20 going 100 percent electric by a date certain and once again
21 that's a phenomenon of the ability to have a decision maker
22 or two versus individual decision makers in the passenger
23 vehicle market.

24 So just to give you an idea of Proterra's growth,
25 and why we felt it mandatory that we establish

1 manufacturing in the western half of the country. Back in
2 2015 we had nine customers, if you will. Fast forward to
3 now we've sold over 625 buses to 70 customers across the
4 U.S. and in Canada in 32 different states.

5 As you can see from the small snapshot of
6 California, from a few customers to more than you can count
7 here, they're so overlapped. We've really grown our market
8 here in California, but it's extended up the coast and now
9 we're even in what you would consider traditional oil and
10 gas strong beds of Texas, Louisiana. We have four
11 customers in Texas, two in Louisiana and now we've started
12 embarking on growth in the Midwest here through Illinois,
13 Michigan, Ohio, throughout the south and we've grown a lot
14 of customers in the northeast as well.

15 Just a different way of looking at all the
16 different customers that we've secured across the U.S. and
17 we recently won an award in Toronto, Canada. And we have
18 now a few commercial customers including Jones Lang LaSalle
19 leasing company, Baltimore Gas and Electric. And a number
20 of airports: Raleigh-Durham, North Carolina Airport; San
21 Jose International Airport and soon you'll be seeing our
22 buses also at Sacramento Airport.

23 So we have some interesting developments in our
24 drive train. We have two different versions: dual power,
25 single power. And the reason that's important is that it

1 allows, coupled with our battery packs, which are modular
2 and scalable you can see three kind of different energy
3 sizes that are applicable. It's the exact same design,
4 it's just a different enclosure, exact same module that's
5 being built. And that's important because it allows for
6 our existing manufacturing facility to serve multiple
7 opportunities.

8 And couple that with what we've decided to do in
9 the charging world. One of the things that we learned from
10 our customers was that they had little or no experience in
11 electrification infrastructure or charging and they were
12 constantly asking us, "Well, we need this. We need that."
13 In the transit world there's a requirement to be "buy
14 American" compliant. And what we were learning more and
15 more was that at scale where these transit agencies are
16 going into 100 percent electrification, there weren't
17 solutions that were scalable. Because the individual
18 pedestal for each bus, or one pedestal for two buses, would
19 start to take up too much space in their bus yards, where
20 they already cram their buses in. So we were looking at
21 various ways to be able to scale the technology.

22 And if you saw from the growth of our bus sales,
23 where we're over 600 buses sold, we are constantly
24 increasing our production and growing every year in the
25 manufacturing. We knew that we were fast going to

1 overwhelm the bus yards with the current charging solutions
2 that were out there.

3 So here's a mockup of how this will be deployed
4 and we're already doing some designs with a few customers
5 out there. Those containers that you see were the
6 containers that you see in the prior slide, that will then
7 allow for tight parking with overhead what they call either
8 panograph or pantograph technology coming down to the bus,
9 being able to charge them hands-free at night. Bus yards
10 didn't want to get into plugging individual buses in at
11 scale. When they were doing one-sies and two-sies, even 20
12 or 30 buses no big deal, but when they've got to do 500
13 buses in a yard it didn't work for them. And also taking
14 into account potential demand charges, energy storage,
15 there was a lot of, if you will, computer software and
16 automation that had to be planned for and designed to allow
17 for charging at scale as well as taking into account what
18 the energy needs would be.

19 So now to circle back around, why was it
20 important that we have these modular and scalable battery
21 packs? And why did we have to come up with an efficient
22 drive train, not just for our buses? Well, because one of
23 our goals was always to do technology transfer. We always
24 felt that buses were the beachhead, if you will, of the
25 heavy-duty sector. And that electrification would happen

1 in multiple areas.

2 As you saw recently with an announcement from
3 Tesla, that they were going to be building an electric bus.
4 There's a company out there called FOR (phonetic) that
5 started making electric buses. And the growth in the
6 school bus market has happened.

7 So we started off with transit, our heavy-duty
8 battery packs, drivetrain and our bidirectional vehicle-to-
9 grid integration capable charging systems, also scalable
10 that's going to become important later on. But here you
11 have now we've recently made announcement in other sectors
12 of where we're going.

13 I can say now, and I've been cleared by our
14 General Counsel to say that we are, right now as we speak,
15 building a battery-electric school bus in partnership with
16 one of the major manufacturers as their very first pilot
17 electric school bus. That will have, when I showed you the
18 scalable battery packs, that will have the smaller energy
19 storage battery pack available to it. And it will be able
20 to do vehicle-to-grid integration.

21 And I mentioned that was important, because
22 people used to ask us all the time about school buses. And
23 we would say, "Well, the numbers don't pan out. They don't
24 run enough miles the way they do in the transit world,"
25 36,000 miles on average or more for a transit, dramatically

1 less for a school bus and so the cost of electrification
2 wasn't there.

3 But we're now seeing utilities looking at
4 creative ways to support school bus electrification in that
5 they sit. These huge fleets of thousands of buses sit, 85
6 percent of them sit all summer long. If they're electric
7 they can be charged with solar and used as distributed
8 energy instead of a coal-fired peaker plant, for example.
9 At the time when everybody comes home at the peak time and
10 around between 5:00 and 7:00 they can be cut on, energy put
11 back into the grid instead of using a coal-fired peaker
12 plant. And we've actually had conversations with a
13 specific utility back east about that.

14 So our first announced technology transfer was
15 with Van Hool, very similar to transit buses, and it made
16 sense our first foray into technology transfer would be in
17 a bus but a completely different bus. It's the coach buses
18 that you see if you ever go to the Bay Area and some other
19 locations. They have these very well laid out, what we
20 call "Mac Daddy" buses where they have big relaxing seats.
21 They've got Wi-Fi. They've got USB plugs. They've got
22 screens. They've got luxury seating, bathrooms, the whole
23 deal and Van Hool is a manufacturer of scale with these
24 buses.

25 So we have not officially started shipping

1 battery packs made in our sync transit bus factory over to
2 Van Hool. They're a slightly configuration to work with
3 the layout of the Van Hool coach bus drive line, but it's
4 the exact same modules, the exact same enclosure, just a
5 different size, modified. And then in more of those of a
6 different size, the exact same assembly line. So it's
7 really working out well. This is the first technology
8 transfer.

9 The next one we just announced and we've already
10 secured a customer here in California for it is the first
11 battery electric double decker bus that will be built and
12 then sold here in California to Foothill Transit down in
13 Southern California. They service a big chunk of L.A.
14 County.

15 Once again this is a partnership with Alexander
16 Dennis, where we will be doing technology transfer,
17 building the battery packs, right in Burlingame California.
18 Then they will be incorporated into the Alexander double
19 decker bus that's going to be first sold to Foothill. And
20 I would imagine that there will be multiple customers for
21 that technology down the road. If you see that far right,
22 it's kind of a tough eyesight thing, but on the far right
23 at the bottom of the bus you'll see those are battery packs
24 in a configuration across the back of the Alexander Dennis
25 bus. And in the middle you can see them installed here and

1 then across there.

2 The ability to have a different size and
3 configuration with the same modules inside allowed that to
4 happen. They're built on the exact same assembly line that
5 we built the first big battery configuration that I showed
6 you, that first big battery pack.

7 So now we move to Southern California. I'm
8 sorry, this is the battery factory, still up in Northern
9 California. We're just saying there that it's co-located
10 with engineering and R&D. We have some level of
11 automation. We had job creation that we didn't anticipate
12 out of that and this battery manufacturing plant was an
13 important milestone in Proterra. And it was an important
14 step in our relationship with the CEC and the grant. We
15 can manufacturer 500,000 kilowatts of energy per year out
16 of there and that's more buses than get sold in a year.
17 But we built that facility with overproduction capability
18 for technology transfer with what you're seeing.

19 This is some of the testing and validation that
20 takes place in our Silicon Valley lab. To the far left
21 you'll see battery packs that look like they've had
22 multiple little problems. Well, those are indents from
23 bullets. We took them out. We had a transit agency ask,
24 "Well, what if your battery packs get hit by gunfire? We
25 operate in very urban environments, in Detroit and

1 whatever." And so we went out and we tested them that way.

2 The middle is a drop of a single point. It's to
3 replicate -- our engineers figured out how high it had to
4 be dropped from and it's to replicate a bus getting hung up
5 at a single point of contact with the entire weight of the
6 bus sitting on top of the batteries.

7 And then last, but not least, is the vibe test
8 that simulates the road-going capabilities of a bus. It's
9 got a configuration software that allows it to simulate
10 500,000 miles of road jostling and bumps, etcetera. In the
11 space of two months we can do a million miles worth of
12 testing on that battery pack and how it's built,
13 connectors, circuits, all that stuff to make sure that it's
14 ruggedized and it's not going to fail.

15 The last thing we want is a battery operated
16 electric bus on the side of the road, because after five
17 years a connector rod vibrated itself loose, because we
18 didn't do full on validation safety and testing. So we
19 have other tests that we do including extreme temperature,
20 excessive moisture. We have a chamber where we put the
21 batteries in where it's hotter than anywhere on planet
22 earth, colder than anywhere. All the while cycling the
23 batteries for their lifetime, testing, as well as adding
24 humidity into the chamber.

25 Once again a great milestone for us, the official

1 opening of our factory. We're up and running, but we were
2 able to have Governor Brown come to our factory. But
3 what's even more telling is this is where we were when we
4 took possession of the building late in 2015, I believe.
5 And here we are now on the right in 2017. That is a full
6 blown bus factory that has now started producing buses and
7 every quarter we are increasing the manufacturing out of
8 that facility.

9 So the additional milestones that I wanted to
10 just lay out. You know, we have been able to grow our
11 investor base from the initial venture capital funds to
12 major corporate investors like General Motors, like
13 Southern California Edison. We have a mix of really
14 interesting and innovative investors that have been patient
15 with us that have supported our major capital-intensive
16 efforts.

17 Winning the CEC grant for advanced manufacturing
18 and then coupled with that the development of our own
19 battery and drivetrain team that resulted in that
20 ruggedized technology, that has been a significant boon to
21 us with our manufacturing capacity. Because previously we
22 were sourcing our battery modules from a third-party,
23 turning them into a pack and those modules were actual
24 passenger vehicle markets. And that's what we were kind of
25 counting on as what's going to be our long-distance bus.

1 And now the next milestone is the ability to
2 transfer our technology to other sectors, capitalize on the
3 overall acceptance and growth of transportation
4 electrification in the heavy-duty sector. And the fact
5 that the people that are buying from us know that transit
6 buses are the workhorse. We now have transit buses,
7 battery electric transit buses that are doing 100,000 miles
8 a year in Park City, Utah. They've been out on the road
9 six, nine years now, and are holding up much better than
10 their fossil fuel counterparts.

11 So here's some of the performance results we've
12 had if you look at them as it relates to the grant where we
13 made -- we had some certain goals. So in fact we've
14 already exceeded the job creation goals from the grant
15 agreement. And these are all full-time jobs with
16 competitive benefits. We offer on-the-job training for
17 career advancement. They get equity ownership. Every
18 employee no matter where you start, what your position is,
19 you get stock options. You also get a matching 401K plan,
20 paid time off and ten paid holidays, so every employee's an
21 owner.

22 We've already exceeded our financial match
23 commitment, which is going to go to my comments in a little
24 while about things are always more expensive than you
25 think. And we've been scaling our operations to meet

1 customer demands by opening this facility. And like I said
2 that was a key factor in Proterra's growth. And in fact,
3 we are looking at further growth in L.A. County to meet
4 demand in bus sales and technology transfer sales.

5 The other thing that I would mention, not only
6 are we building a definitive electric school bus we are
7 also going to have to look at building another bus, and
8 that would be a 60 foot articulated bus. We get requests
9 for those all the time and that's on our road map down the
10 road that we would ultimately have to expand our
11 manufacturing to be able to do that.

12 So lessons learned. Clearly one of the lessons
13 that we learned, and we knew it coming in was that it made
14 sense for Proterra to be in California because of the
15 programs, the opportunities, the public policy that takes
16 place in California. And it's obviously the CEC, I'm
17 standing here now, but it's also GO-Biz, the Office of
18 Economic Development. It's also within GO-Biz the
19 California Competes Program. It's a tax benefit program.
20 There are sales tax programs for advanced manufacturing,
21 there's multiple programs. There's a number of state
22 workforce development programs. I'm going to talk a little
23 bit about those in a minute, but that is the key factor.

24 And one of the things that I want to talk about
25 also is the fact that the proactive communication with the

1 CEC is my bullet point number two, because everything takes
2 longer and it costs more than you think. But more
3 importantly than that is that we realized early on that
4 batteries were going to be the kind of building block of
5 our buses. Even though the majority of the CEC money was
6 dedicated for the Southern California facility, CEC worked
7 with us to adjust our grant to allow some of that money to
8 be spent up in our Northern California facility, because we
9 made it. And we communicated and they understood that
10 those battery packs had to be built to be able to do that
11 level of technology transfer that we were looking for and
12 to feed the factory. Because without the battery packs the
13 factory wasn't going to get anywhere.

14 So now other important things, winning that grant
15 sent a signal to the investment world. And in fact we've
16 had subsequent money raises that are getting easier and
17 easier. And access to capital in advance of need and on
18 fair terms can make a big difference between success and
19 failure. It allowed us to, if you will, overspend our
20 production at the time in anticipation. Now, we have to
21 scale -- now our production is trying to catch up and
22 that's a combination of training, employees and just
23 physically having the ability and the capability within the
24 factories to continue to push out buses.

25 Supply chain goes right after that. We've had some

1 challenges with supply chain. We thought we had future
2 proofed our supply chain. We had second, third suppliers
3 and still we had supply chain issues, where we literally
4 were slowed down where if we produced say 20 buses in a
5 month we had a next month where it was down to 8. And that
6 was a supply chair issue from producers and suppliers that
7 we thought were going to future proof our issues.

8 Another thing that you need to understand is that
9 there is going to be workforce challenges no matter what.
10 Because we ran the impact problem of recruiting employees
11 that are needed yesterday to fill open roles to get going,
12 versus developing the employee base that we'll need for
13 tomorrow. And as a startup we didn't have the band width
14 to really do both within our HR Department. They were
15 scrambling to fill open positions, so we could get the
16 factory up and running. Because the other factor you have
17 to take into account is great the buses are flying off the
18 shelves. We're selling them like crazy. But if we can't
19 build them in a timeframe that's competitive with our
20 fossil fuel competitors, they're going to start to throw up
21 their hands and start looking the other way or maybe going
22 to our competitors for their bus sales. So we had to be
23 able to scale manufacturing, so that they could have a
24 similar timeline on the production of their buses. All the
25 while dealing with supply chain issues, all the while

1 dealing with kind of what everything that's involved with
2 starting a new factory.

3 But I'd say that one of the biggest lessons that
4 we learned, and that's why we did this whole battery thing,
5 that's why we embarked on the higher level of energy
6 storage was that our customers kept saying that, "Your
7 initial buses are great, but they just don't have the range
8 that we need." And then we had a design where we were
9 going to have about 130 miles of range, 120 miles on the
10 range bus. That was using the modules from the third
11 party. Once again our customers said, "You know guys,
12 that's not going to cut it. We need a bus that can do over
13 150 miles, so that we don't have to worry about the change
14 from electric to fossil fuel. And we don't want to have to
15 think we're going to buy two buses for every one bus."

16 And that's when we embarked on that battery
17 building. We hired a battery team. They started
18 developing our own stand-alone battery system that would
19 allow for enough energy density and storage of energy to be
20 able to get that range. Because a lot of it is just simple
21 math in terms of mileage per kilowatt hour of energy and
22 how much kilowatts of energy you could hold on the bus.
23 And we weren't there with the third-party modules. We had
24 to do it on our own. And that, as I said that was one of
25 the things that working with the California Energy

1 Commission helped us do that in switching our emphasis from
2 the initial, from the factory to the battery factory. And
3 then focusing the emphasis on the bus factory in turn.

4 So, next steps. We've got to continue to scale
5 our manufacturing through a combination of workforce and
6 automation. Human capital and equipment capital
7 expenditures will increase and continue respectively.
8 Specifically, we're going to go for sustainability through
9 increased vertical integration of our supply chain
10 components.

11 And it may not seem like much, but for example,
12 wiring harnesses were one of those challenges that I talked
13 about. The buses were getting held up by wiring harnesses.
14 They were being manufactured outside of California. We
15 want to bring that in-house. It aids sustainability having
16 them shipped or trucked to our factory. It'll be job
17 creation and it will help shore up certainty in our supply
18 chain.

19 We want to deploy lift assist machinery for
20 enhanced safety and increased bus production. Back when we
21 were maxing out building maybe 20-30 buses in a year versus
22 over 40 in a quarter, it wasn't a big deal to have guys
23 lifting these heavy windshields on the buses, because it
24 just wasn't that many. Now, it becomes a safety and a
25 increased production issue lifting many of these heavy

1 components, wrestling with windshields. There's lift
2 assist out there. There's a lot of things that are out
3 there that are what we need to deploy, but balancing how
4 many employees we need and other factors I could go into
5 huge growth in IT. And all that needs to happen in terms
6 of vehicle-to-grid integration, chargers, talking to the
7 buses, buses talking to the chargers. And having them be
8 OCPP compliant, which is open standards that allows for
9 anybody to use our chargers and any buses to use our
10 chargers. And our chargers to charge interchangeably,
11 because as much as we'd like to think customers are only
12 going to buy our buses, lots of customers are embarking on
13 buying three different electric buses at the same time.
14 They don't have to buy three different chargers to charge
15 all those buses. So we have to make sure that there's a
16 high level of interoperability.

17 We work with EPRI. We work with all the
18 different kind of Society of Automotive Engineers, SAE, and
19 most of the standards organizations that are out there to
20 ensure that that happens. So on top of the lift assist
21 machinery we've got to also increase our battery pack
22 manufacturing, because of this growth in technology
23 transfer. You may have seen a little locomotive in my
24 earlier picture. I didn't really discuss that, because
25 that's a project that we are looking at as an opportunity

1 to build the first ever battery-electric locomotive.

2 And of course trucks are on our road map of the
3 future. We are in conversations, but we are not at the
4 stage, where, as I said, in the school bus, we are actually
5 building a school bus for a major manufacturer.

6 Then the other thing we want to bring in-house is
7 we don't want to outsource our paint shop and we don't want
8 to outsource metal fabrication. It's amazing that brackets
9 could end up holding up your production line, but they can.
10 And then tubes for cooling and we want to be able to bend
11 those tubes and do them ourselves. It's a lot easier to
12 get bolt straight tubes than bend it at specific angles at
13 specific lengths manufactured and shipped to you. Those
14 are simple things, that may seem simple, but they are
15 incredibly important.

16 And then as part of our sustainability efforts,
17 there's a lot paint shops out there that have been
18 grandfathered over the years and are spray painting in some
19 pretty, I'll just say less than environmentally friendly
20 fashions. We would start from scratch. We would be held
21 to the highest standards available out there now for paint
22 shops, which would increase sustainability, grow jobs. And
23 once again secure our it's not quite supply chain, but it
24 would secure our manufacturing capability rather than
25 waiting for somebody else to paint buses to our customer

1 specifications. We would be able build that into our build
2 schedule.

3 And then there's new product manufacturing
4 planning and development, because right now we don't even
5 know what we may need two years from now to develop
6 internally.

7 So workforce of the future development, and one
8 of the things that I'm going to just touch on, I don't want
9 to steal his thunder. But we were very successful when we
10 first got started working with Rio Hondo College in terms
11 of hiring veterans and having people with the electrical
12 and mechanical training that we needed to staff our
13 factory. We have to grow that if we're going to grow our
14 employees. We have to extend it beyond our bubble in L.A.
15 County, the City of Industry area. We need to push that
16 out.

17 We're going to be growing our battery
18 manufacturing facility, so we need to have development of
19 the workforce of the future as well as our current needs,
20 later this year, this month, next year. But if we are
21 going to grow the way we project growing we are going to
22 need to be able to employ hundreds and hundreds more
23 employees. And it behooves us to make sure that they walk
24 in the door trained, so that they are ready to start
25 working relatively quickly. And then through on-the-job

1 training programs get trained up, so that they can become
2 electrical associates II, III and potentially supervisors.

3 We are already seeing some of the early folks
4 that we brought in getting promoted to supervisors. Well,
5 where are their replacements going to come from? You know,
6 we're almost to the point where, as I said, you're going to
7 have challenges that you don't encounter.

8 We thought locating down in City of Industry
9 area, in the heart of what I will say scaled back airline
10 industry, heavy manufacturing, aerospace, all that, we
11 thought we'd have a wealth of employees. But when we
12 established and as things have moved on the economy is
13 booming here in California and workers are getting snapped
14 up everywhere. Electric manufacturing is booming. Workers
15 are getting snapped up across the board. So we are
16 competing very hard.

17 Now because of the attractive employment package
18 we offer we believe that we've been able to attract
19 premiere talent, but I'll just say it's getting extremely
20 competitive out there. All employers are now starting to
21 offer very attractive employment packages. And so we have
22 to start developing these folks early on whether they be
23 vets, whether they be folks out of high school, whether we
24 are going to transition them out of underemployment into
25 superior employment.

1 One of our supervisors was an engineer that was
2 working at a mattress factory. He joined our company as a
3 Mechanical Associate II, went right to III and now he's a
4 supervisor and he's thrilled that he's now really taxing
5 his level of education and skill. You know, he was an
6 engineer at a manufacturing company for mattresses and now,
7 he's working in kind of advanced technology. So that's
8 just one little microcosm of what we've experienced down in
9 Southern California, in terms of workforce. Thank you.

10 COMMISSIONER SCOTT: Great, thank you very much.

11 Let us turn -- this is very insightful and
12 informative. I think what we'd like to do now is hear from
13 our reviewers and then please others around the table if
14 you have questions or comments for Kent please go ahead.

15 Margaret, would you like to start?

16 MS. MANN: All right, thank you. That was a very
17 informative presentation. I really enjoyed that.

18 I guess one of my questions is you described your
19 supply chain. And you currently call it battery
20 manufacturing, but it's the packs where you're assembling
21 purchased cells into packs that are specifically designed
22 for your application. I was curious about the relationship
23 you have with the battery cell manufacturers. Is that a
24 contractual relationship? Is it multiple options over
25 time? Where are those battery cells made and then do you

1 see differences in the quality of the battery cells that
2 you purchase?

3 MR. LEACOCK: I'll start with your last comment.
4 Absolutely, we saw a difference and that's why we partnered
5 with the company that we chose. When we first embarked on
6 doing that, that's why I said we start at the cell level.
7 We don't manufacture the cells. We did a bakeoff between
8 major manufacturers and I can name them: LG Chem,
9 Panasonic, Toshiba, Samsung. We had teams of those folks
10 running in and out of our corporate headquarters all the
11 time early on a few years back.

12 We ultimately chose the LG Chem out of South
13 Korea even though we had previously been buying our
14 modules, as I mentioned, from LG Chem out of Michigan, and
15 they sent a team out. But the cells that performed the
16 best, that stood up the best under testing were the LG Chem
17 cells. And we do have a supply agreement with them that
18 actually triggers price reductions based on volume as well.
19 So we have that set into the contracts, because we clearly
20 anticipated that we were going to have growth.

21 The bakeoff, if you will that we did, yielded a
22 number of surprises. Our engineers walked in thinking that
23 one of the manufacturers was going to be the winner,
24 because they had previously worked with them and just
25 thought that they were going to have the best cells. But

1 they didn't, so they were very unhappy that it turned out
2 not how they wanted. But they had to choose the best
3 option.

4 And in fact I would say, I think it's safe to say
5 that cells that we're using now aren't the cells of the
6 future. We are already looking at, or we're getting sent
7 to us next generation cells by all the manufacturers,
8 because now they're all seeing how dramatic the growth has
9 been in the electric bus sector and in the heavy-duty
10 sector, here in America. So now they're approaching us,
11 "We've got the next greatest thing!"

12 And so the beauty of our R&D facility that I
13 showed is also we have individual cell testing machines, if
14 you will, that do the same kind of shock, vibration,
15 humidity, heat, cycling, all that stuff. So we're now
16 testing the cell of the future regularly. And that cell of
17 the future, I would bet, won't be in a bus 15 years from
18 now, because there'll be some other bus. You know, one of
19 our battery engineers said, "Kent, if anybody tells you
20 they know what the next battery cells are going to be for
21 sure then you know that they're lying, because nobody
22 knows."

23 COMMISSIONER SCOTT: Other questions, Margaret or
24 Deborah?

25 MS. SANDOR: I'll defer to (indiscernible).

1 COMMISSIONER SCOTT: Okay, and Frank? We go to
2 Debra and then Frank.

3 MR. RAMIREZ: Hi, it's great to be here, Janea.
4 Thanks for the invitation, appreciate it.

5 Great presentation, Mr. Leacock, I have just one
6 question about workforce. I understand that's an issue and
7 I'm glad you're working with Rio Hondo College on that.

8 Have you identified what the key jobs are going
9 to be within the next five, ten years, in your industry?
10 And have you developed any pipelines or any specific plans
11 for meeting those needs? I mean, thinking forward and
12 related to that is how closely are you tracking filling
13 jobs with the disadvantaged communities?

14 MR. LEACOCK: I would say, I hesitate to talk
15 about ten years from now, but I will say for the next five
16 years we know where the growth will be. It's been clearly
17 identified as the mechanical associates, electrical
18 associates, as well as software engineers and then
19 mechanical engineers, engineering supervisors, engineering
20 managers. It's really all in that technical phase.

21 And then the other job creation will be just
22 organically in any organization the HR group is going to
23 grow. The IT group is going to grow. But as it relates to
24 the skilled kind of workers I think you're talking about,
25 we are looking at working with organizations like Rio Hondo

1 College that specialize, for example, in getting us folks
2 from the community, veterans, etcetera.

3 We've also worked previously with Good Will
4 Industries to draw from disadvantaged communities, draw
5 from the community. And quite frankly that's really been
6 our focus is to do job fairs and work with community-based
7 organizations, to draw from the community and ensure that
8 we have an extremely diverse workforce.

9 I have a -- I don't have it in that presentation.
10 I should have put up my screensaver that has a snapshot of
11 the workforce that's down in the City of Industry. And
12 it's about as diverse as you could possibly imagine. I
13 would say that the specific focus is really on finding a
14 diverse workforce from the community and we are in the
15 midst of, I would say in our surrounding area there's a lot
16 of what are going to be disadvantaged from the EnviroScreen
17 perspective. Is that what you're using as your definition
18 of disadvantaged communities, more or less?

19 MR. RAMIREZ: Yes.

20 MR. LEACOCK: Okay, so we draw from -- that
21 surrounds us and so it's easy to draw from disadvantaged
22 communities, because we're smack dab in the middle of that
23 designation and we're trying to draw from the community as
24 much as possible. We've done job fairs with elected
25 officials, Assembly Members here and L.A. County

1 supervisors in L.A. So that's really what we've found to
2 be the best avenue toward drawing from the communities,
3 working with organizations like Good Will, local community
4 colleges and the elected officials that are very much
5 motivated to help their disadvantaged constituents, if you
6 will, secure good jobs in our industry.

7 MR. RAMIREZ: Thank you

8 COMMISSIONER SCOTT: Debra?

9 MS. SANDOR: I had another supply chain issue.
10 You said that you have had trouble getting all different
11 types of components and I was just wondering what do you
12 think are sort of the main issues that you have with that?
13 Is it because there's competition for those components? Is
14 it because you're getting them overseas and they're not
15 getting here in time or what do you think are some of the
16 big issues that maybe we could address and make it so
17 that's not holding up the bus production?

18 MR. LEACOCK: Right, well I guess the first issue
19 was quality and ability to fulfill their commitments to us.
20 And that hurt us and that was an entity that came to us
21 from one of our Board Members at GM that said, "Oh, these
22 guys are going to be great for you." Well, they weren't
23 great, unfortunately. But it was a lesson that we had to
24 learn.

25 We've also encountered quality issues from

1 offshore manufacturers, and specifically the wiring harness
2 for example. Once we had the design that we needed, our
3 engineers came up with it, the manufacturer wasn't
4 executing to the level of quality that we needed. And in
5 fact, we had to pull the buses off the assembly line,
6 snatch out the wiring harnesses and go back in with all new
7 ones. That the manufacturer had to employ kind of an
8 upgraded process to match the ruggedness that we needed,
9 that we were designing in with our own components, which is
10 why we want to do that ourselves. Because when you have a
11 battery electric bus the wiring harness is used for every
12 aspect of the bus from the batteries all through
13 everything.

14 So when that fails basically the bus is dead in
15 the water. It's not like a fossil fuel bus that the motor
16 will keep going if the headlights go out. There's so many
17 telematics and electronics in there that it's a crucial
18 component and we learned the hard way how crucial it is to
19 bring it in-house.

20 And then as I said the other thing is just some
21 of it is literally logistics. We have some good
22 manufacturers. When I was talking about say brackets, we
23 have good manufacturers for that. But they're based on the
24 East Coast and they were supplying our East Coast factory.
25 And so it's an efficiency economies of scale type of deal

1 to not have that stuff shipped all the way across the U.S.
2 to our factory in California. If we could start building
3 that in-house with a kind of machine production shop it
4 will help trim costs.

5 Because we're at the stage now where our guys are
6 looking at 25 cent cost reductions here, a dollar cost
7 reduction there, because the number of brackets that go
8 into an electric bus, or any bus for that matter, can add
9 up. And once again, we're driving down the cost of the bus
10 itself. I didn't have it in my presentation. Many of you
11 may have heard this. A few years back, our buses cost \$1.2
12 million. We're now under \$800,000 depending on options,
13 which surprising enough, you can add 150,000 in options to
14 a transit bus.

15 But anyway, so every little bit counts. And so
16 it's been a combination of everything, supply chain, from
17 quality, from over extending the manufacture of that
18 component, because they were used to us ordering a certain
19 level. All of a sudden we quadrupled our orders and they
20 were overwhelmed. And it's interesting that when we took
21 possession of the factory, we were anticipating that, but
22 you can't start ordering in quadruple without the bus
23 orders to go with it and without the buses being made. So
24 then all of a sudden we went from 0 to 10 to 20 buses being
25 built in just one factory alone and couple that with the

1 other more established factory also doubling and tripling
2 their production. All of a sudden we're ordering
3 dramatically more of the pieces, if you will, that are
4 necessary and they were like, "Well, this is great, but we
5 can't meet that demand."

6 So it was those type of things, so many
7 components of supply chain I think are fixed and or in the
8 process of getting fixed, but some of them we want to do it
9 for quality control and for sustainability reasons as well.
10 And it'll be job creation. Why should we have brackets
11 built in -- I don't want to name the state, because I just
12 don't want to -- but why should we have brackets built some
13 place other than California? Or wiring harnesses built
14 someplace other than California where we can incorporate
15 that into our factory and build it there, which is one of
16 the reasons why I kind of made the mention that we're being
17 looking at expanding manufacturing. Because it'll be a
18 great thing for us and for California if we outgrow that
19 facility in the near term, because we anticipate outgrowing
20 it.

21 COMMISSIONER SCOTT: I have a question for you.
22 Now, you mentioned the quadrupling of the number of buses
23 you can make and therefore the supply chain kind of needing
24 to keep up. How closely do you work with the folks who are
25 bringing in those types of supplies, like the brackets for

1 example, that you mentioned where okay it looks like in
2 quarter three we're going to double what we're doing. We
3 need you to be ready to double as well. Or do you have
4 those kind of relationships with the supply chain folks?

5 MR. LEACOCK: Yeah, we have a whole new -- when I
6 joined the company our supply chain was maybe 2 guys, now
7 it's about 12 guys. So yes, they now do regular supply
8 chain road shows even where they fly around. And once
9 again they fly around the country to different suppliers.
10 You know, how great would it be if they could cut in half
11 their flights, because they were building it right in our
12 factory? But for now, yes we do have those kinds of
13 relationships.

14 But even with that and even telling them that
15 they can't always respond. They can't just -- and it's the
16 same problem we're having. It's a great economy out there.
17 They can't just all of a sudden add workers to increase
18 their production, add skilled workers to all of a sudden
19 dramatically increase their production, on the turn of a
20 dime. And so like I said things are kind of complementary.
21 It's getting better. We've established those type of
22 relationships.

23 And there's always going to be a huge supply
24 chain for the buses, because we're never going to build
25 tires, the chrome wheels, the seating, the fair box stuff,

1 the windows. There's a whole host of supply chain that we
2 will never want to bring in-house. But there's a number of
3 things that we think makes sense and would be kind of a
4 good return on our investment to bring in-house, in the
5 manufacturing process.

6 COMMISSIONER SCOTT: Any last questions for Kent,
7 before we turn it over to I think John is next. No,
8 Peter's next. Yes, please just go ahead.

9 MS. MANN: I would like to ask a real quick
10 question. You've done a very good job of talking to other
11 states and focusing on the California issue, what about
12 international suppliers? You know, the elephant in the
13 room that there are a lot of international suppliers and of
14 course the biggest developing markets in this space are
15 international.

16 So twofold: to what extent are your relations
17 duplicate, triplicate, contractual internationally? And to
18 what extent are you also looking to provide business
19 services or components to the international market?

20 MR. LEACOCK: So, I think you're -- when you say
21 "our kind of international," because in the transit world,
22 we have a "buy America" compliant obligation that we have
23 to meet. So the major component that we source from
24 overseas is our cells, from South Korea and those are the
25 lithium ion cells.

1 As it relates to selling our product and
2 technology internationally that's being done. That's the
3 Van Hool relationship. They are based in Europe.
4 Alexander Dennis is a London -- they're the London double
5 decker bus manufacturer of choice, if you will. We
6 recently did a deal where we will be selling buses to
7 Toronto, Canada. And we're in conversation, Toronto's --
8 Canada itself is on a big push to go greener, so we're in
9 conversations with multiple cities in Canada. We've had
10 the Canadian Minister of Transportation come visit our
11 manufacturing facility.

12 So I think we're taking baby steps as it relates
13 to international sales of our supply chain. And we are
14 constrained and happy to be constrained in terms of our
15 shall we say international supply chain for parts for our
16 buses, because of the buy America compliant requirement.
17 And that extends to our chargers, anything that we build or
18 anything that we source on behalf of our customers has to
19 be buy America compliant if they want to be able to use
20 federal funding to purchase it. And 99.7 percent of the
21 transit buses sold in America are used -- are purchased
22 using federal funding, so it's almost a virtual require --
23 it's a requirement that we source and build in America,
24 using American parts and components other than, as I said,
25 maybe 15, 20 percent is from offshore. And that really is

1 the big chunk of that is our battery cells.

2 COMMISSIONER SCOTT: Thank you. Thank you for
3 giving us all of this great information. I think it will
4 really help us. We're thinking through the most effective
5 places for the Energy Commission to put its dollars as
6 we're looking at manufacturing for zero emissions vehicle
7 infrastructure and also into the workforce training
8 component.

9 So, am I turning it to Tim to introduce Peter or
10 shall I introduce Peter?

11 MR. OLSON: Well, I just want to make one comment
12 that Peter Ward is our next speaker from Efficient
13 Drivetrains. He is replacing Jean-Baptiste Gallo, who is
14 traveling and couldn't make it back here. So Commissioner,
15 I also wanted to mention that I wanted to thank Larry
16 Rillera who helped put together a large part of this. He's
17 suffering a trip in Hawaii with his family right now.
18 (Laughter.)

19 So Peter, if you can join us up here.

20 COMMISSIONER SCOTT: While Peter makes his way to
21 the podium I will extend my thanks to Larry for helping put
22 together a great workshop for us today.

23 MR. WARD: Good morning, everybody. My name's
24 Peter Ward. I'm really pleased to be here today and thank
25 you all for coming out. It's a particularly interesting

1 day for me, because I used to be in this building for about
2 34 years and was the former program manager for the program
3 that's funding some of these projects. It's a really
4 interesting dichotomy. I've been on one side and now I'm
5 kind of on the other side helping a client, actually one of
6 my first clients and my longest-standing client is
7 Efficient Drivetrains.

8 Basically, we're here to express that EDI is
9 very, very grateful to the Energy Commission for the
10 funding that we've received. The Energy Commission is by
11 far the largest public partner that Efficient Drivetrains
12 has gotten in its short life. Efficient Drivetrains was
13 established about ten years ago by a fellow named Joerg
14 Ferchau and with the help of Dr. Andy Frank from the
15 University of California at Davis. Dr. Frank was a key
16 individual at the Institute of Transportation Studies there
17 at UC Davis and has a large patent portfolio.

18 So I'll go on from here. Basically, I was the
19 Program Manager at the time I first met Joerg Ferchau and
20 that's in 2007 is when I first started. But I met Joerg in
21 2011 when I was the Program Manager here. He came in for a
22 meeting, met with me and others here at the Energy
23 Commission.

24 I thought he had a very creative market segment
25 that he was hoping to develop. And then as was followed up

1 in 2013 when I received a phone call from Joerg to ask if I
2 could help advise him. That was after my first year of
3 layout after I retired from the Energy Commission. And I
4 was really happy to get his call, because I really thought
5 the technology here has a very perfect fit, if you will.

6 At the time, they were establishing the hybrid
7 electric vehicle drivetrains for medium and heavy-duty
8 trucks primarily, meaning that segment that is in between
9 fully electric light-duty and fully electric heavy-duty.
10 And this allows the vehicles to operate on zero emission
11 for all electric in city areas, but also has the advantage
12 of having fuel onboard. And typically I've been advising
13 them to use renewable fuels like renewable natural gas and
14 renewable diesel whenever possible to get the longer duty
15 cycle and the longer mileage you need for many of their
16 applications.

17 EDI was established with a \$150,000 loan from the
18 City of Dixon and established their first facility out in
19 Dixon. I remember visiting there. There were about five
20 people there when I visited Joerg and Dr. Frank.

21 That one location really basically started all
22 this, and I just want to add that \$150,000, that the loan
23 from the City of Dixon has been fully repaid at this point.

24 Fast forward to 2018 I don't know if many of you
25 have heard, but this was outstanding news from this very,

1 very small company, fledgling California company. It now
2 has over 50 employees and contractors and is growing. It
3 has recently been purchased by Cummins, which was basically
4 one of the goals of the founder, Joerg Ferchau, when he
5 first had ideas of developing such a company.

6 Over 200 EV and PHEV drivetrains are deployed or
7 are on order in the U.S., China and Taiwan and growing.
8 Several strategic partnerships with OEMs, particularly Blue
9 Bird, Thomas Built, Freightliner, etcetera. And it was, as
10 I say, acquired by Cummins and part of its Electric Power
11 Business Unit.

12 This is EDI's technology offering, which as I
13 came to know it is kind of the fitting in the middle of all
14 electric light-duty and all electric heavy-duty. But the
15 drivetrains that they are producing can be all electric or
16 they can be hybrid series and parallel.

17 It's interesting, because at the time that they
18 were developing this there were certain challenges, like
19 Kent mentioned, about the cost of batteries to attain fully
20 electric viability and in duty cycle. And so this has kind
21 of come of age, to the point where it has been identified
22 as kind of a medium step to get to all electric drive. But
23 certainly can be one that utilizes the low-carbon fuels
24 that we're hoping to develop here in California as well to
25 go along in tandem with all electric drive.

1 The technology offerings are the EDI PowerDrive,
2 plug-in hybrid electric vehicle system. It's the
3 industry's first zero emissions drivetrain solution, four
4 modes of operation: EV, EV Plus, parallel HEV and series
5 HEV.

6 The EDI PowerDrive EV, it's a full-power electric
7 drive train and vehicle electrification solution. The same
8 parts as components as the plug-in hybrid electric vehicle
9 product line for economy and ease of service and
10 maintenance.

11 That's kind of a theme that I think you might
12 recognize throughout this. When Joerg envisioned this
13 company, it basically wanted to take on just enough to make
14 sure that his technology is viable. In other words not
15 having to produce their own batteries, produce their own
16 motors, produce their own -- all the other components. But
17 actually at the time the market was developing many of
18 these components, batteries, motors, had advanced
19 significantly to the point where he could utilize those and
20 we were also seeing cost reductions at that same time.

21 The EDI PowerSuite is the software and this I
22 think is the crucial part of what EDI is trying to do. And
23 that is the brains behind the unit that actually can allow
24 the vehicle to operate in the most efficient and lowest
25 emission mode at all times without the driver having to do

1 anything: software controlling the complex drivetrain and
2 battery system functions, telemetrics for diagnostics,
3 fault management in communicating with the operators.

4 This is to a large degree the patent portfolio of
5 over 40 patents that Dr. Frank brought to the EDI
6 experience. Dr. Frank is still the Vice President at
7 Efficient Drivetrains, Inc. And from what I understand he
8 appears just about every day at their facility in Dixon,
9 which is close to UC Davis where he has retired as a
10 professor. But this is the component, the work that
11 Professor Frank did in all of those years is really kind of
12 a secret sauce that EDI enjoys. They have additional
13 patents that they have developed on their logic and
14 software and that is kind of the thing that separates them
15 from others in the market.

16 The complete range of technical services that EDI
17 has is the vehicle electrification and integration of EDI's
18 solutions, telematics and a low volume production of
19 initial vehicles was allowing them to perfect their
20 technology as they've gone along.

21 As I mentioned their business model was one that
22 initially attracted me, because it was not an overly
23 ambitious business model. It was one that was designed
24 just to do the drivetrain. I know it's a little bit
25 unheard of, in the last ten years we've seen companies come

1 and say, "We're going to be doing it all. We're going to
2 be doing the electric vehicle. We're going to be doing the
3 body, the brakes, the steering wheel, the batteries and the
4 motors. And we're going develop them all for our system."

5 I think the wisdom came from Joerg realizing that
6 the advancement in all these technology applications are
7 different components was sufficient. And the price
8 reductions were resulting, so that you could actually shop
9 and provide and do basically test all these different
10 offerings that were out there and choose the ones that best
11 fit your technology option.

12 And so what they have done is they've built and
13 testing PD7000ev modules. And they fabricate and test the
14 harnesses and cables and programs the PowerSuite software.
15 Freightliner and Custom Chassis build the school bus
16 chassis. They install the PD7000ev kit into the school bus
17 chassis, so they're relying on their partnerships to take
18 their critical part of the vehicles itself and installing
19 it in their vehicle. So the product that EDI produces is
20 one that can be modified and fit into just about any
21 transmission space, on available vehicles.

22 They test the EV-powered school bus chassis.
23 They were responsible for that at Freightliner. And
24 through the partnership they've had with Thomas Built
25 Buses, Thomas Built Buses builds school bus bodies and

1 interiors, installs the body and connect systems, finishes
2 the school bus and completes the final end-of-line school
3 bus test.

4 That's one example of one of their partners.
5 Another one in the school bus area is Blue Bird, which is
6 an association that now EDI is enjoying and they have an
7 order now for 200 drivetrains going to Blue Bird's new EV
8 school bus.

9 Advanced Vehicle Manufacturing Facility grant is
10 one of many reasons that EDI is very grateful to the
11 Commission. The solicitation was established in 2014. It
12 was awarded in February of 2015. The contract was executed
13 in April of 2015. Energy Commission's funds was nearly 3
14 million, EDI cost share was almost \$4 million into that.

15 Amendment no. 1 was executed in 2017. Amendment
16 no. 2 was approved in 2018. Both were no time cost
17 extensions and both were resultant of equipment list
18 changes to better answer the company's evolution in a fast-
19 changing market. This is probably one theme that you're
20 going to hear is in this particular area, and in other
21 areas of advanced technologies and in renewable fuels, it's
22 a very fast changing market. I think Kent attested to that
23 as well in his presentation. This is something that you
24 have to be very nimble to respond to if you're a company
25 and you have Board of Directors and Investors, you have to

1 be able to nimbly respond to market changes in the existing
2 market.

3 And I think them basically just relying on the
4 drivetrain itself avails them the capability of being able
5 to respond in a much more responsive fashion. The project
6 will be completed by March of 019. And there's a
7 significant amount of change that's also going on at EDI,
8 as we speak right now. I'll show some pictures in a
9 minute.

10 Some of the lessons learned. In the fast
11 changing market, as I mentioned the companies need to
12 change and adapt to survive. The original focus on the
13 continually variable transmission, the plug-in hybrid
14 electric vehicle drivetrains and the vehicle control
15 software as I've mentioned.

16 The prototype demonstration, we had prototype
17 demonstration vehicles. As a matter of fact the first
18 grant was with the PIER Program here at the Energy
19 Commission where a natural gas vehicle could be equipped
20 with the plug-in hybrid electric vehicle system. And that
21 vehicle has been completed, of course, and is in operation
22 today.

23 EDI's current focus on formal and expansive EV
24 and PHEV drivetrain offering. The low-volume vehicle
25 production is basically their market at this point. They

1 don't have the large wherewithal of a large manufacturing
2 facility. It is small. Dixon was much smaller. They've
3 even grown that space, but now their manufacturing facility
4 in Milpitas, California, which was funded by this grant is
5 fully operational at this point and there is no available
6 space in that manufacturing facility right now.

7 You guys current focus on formal expansive
8 drivetrain offering and the strategic relations with major
9 OEMs, this is something that has been critical to them.
10 And they've had many different projects with different OEMs
11 over time. And there have been expressions of interest by
12 several of the OEMs and as I say resulting in the agreement
13 signed last month with Cummins to purchase EDI as their
14 operating electric drive unit within Cummins.

15 A fast developing technology industry requires a
16 more streamlined public private partnership process. And
17 so the company such as the size of EDI has a little bit
18 less of the capability of bringing in investment dollars
19 than other larger companies. And so the streamlined
20 process with the public private partnerships with the
21 Energy Commission as a partner is really critical.

22 Sometimes the contracting process can be delayed.
23 I just want to mention it, because I've been here at the
24 Energy Commission and I understand from the beginning of
25 this program how difficult it is to do the job that these

1 folks at the Energy Commission do. This is an area that
2 there is no guidebook. There is no "how do you do this in
3 the future?" Much this program was learning by doing. And
4 as the Program Manager I'll confess it now, I was just
5 learning by doing. I didn't know that much when I started.
6 I'm not sure I know that much now, but nevertheless I do
7 think that that's critical.

8 And the folks that work in the Energy Commission
9 on this advancing program are to be commended. This is not
10 an easy job and there's not a lot of thanks that's given
11 and a lot of the time these folks are a little reluctant to
12 share the public space and to be recognized, but I want to
13 recognize them right now, because they are critical to the
14 success of these companies. Not just the programs, the
15 companies transfer -- the programs transfer down to
16 companies. And there are real live people in those
17 companies that are trying to do a similar work that those
18 here at the Energy Commission are engaged in.

19 Time to approval of a contract and the approval
20 of the necessary amendments puts stress on the individual
21 project partners and can disrupt the project teams. This
22 is a point that I've seen with several projects that, and
23 as hard as it is to balance all of the funding
24 opportunities here at the Energy Commission, it is very
25 difficult when some of these companies are put together

1 around a solicitation. In other words, they develop
2 partners, technology companies and say fleets that all need
3 to be engaged in this process.

4 And sometimes those partnerships are a little
5 brittle and sometimes they are very impatient. A lot of
6 these folks are ready to go when they write the proposal.
7 And at that point, that's just when the work begins,
8 because then it goes through the solicitation process. The
9 proposal is developed. Luckily, they're selected and then
10 the time to contract is critical, because in that time I've
11 seen projects being brittle and kind of fall out. And so
12 it's really important to have kind of a certainty or
13 assurance of how long it takes to get under contract.

14 Likewise in this fast-changing world, and
15 particularly in EDI's case where their requirements for
16 their manufacturing facility changed one example is they
17 had a chassis dynamometer suggested in their initial
18 proposal. And in the intervening time from getting under
19 contract and starting and engaging and completing the
20 manufacturing facility, they realized that the need for a
21 chassis dynamometer facility was really not as relevant as
22 the manufacturing space they could have on their floor.

23 So rather than take that space away and the large
24 investment that the State of California was going to be
25 helping with they decided prudently to go away from the

1 chassis dynamometer. And so now they have an engine
2 dynamometer that's going into the manufacturing facility,
3 but that is freeing up money that they could put in their
4 manufacturing line. And that makes them much more
5 attractive to investors obviously, but it also makes them
6 conform to what the needs are in developing the
7 manufacturing that can meet the demand that they are
8 seeking.

9 Requirements for data collection, particularly in
10 this particular grant have become a little bit more
11 difficult to understand, I have to say. With a
12 manufacturing facility unlike maybe some of the other
13 vehicle demonstrations that we've seen, the required
14 testing or six months of data collection is kind of hard to
15 get your arms around. Basically, I think everybody wants
16 to see a live and engaged and very busy manufacturing
17 facility. And in a way that is how the grant can be
18 defined whether it's a success or not. But there is the
19 boiler plate of six month's data collection that is in most
20 of the agreements and perhaps in these areas, and
21 particularly in workforce development, maybe there would be
22 better measures of success.

23 The current equipment and materials list requires
24 amendment. That has required amendment twice now at this
25 point. And there's another concern that the equipment

1 lists that are listed all the way down to \$100 items is
2 perhaps too detailed and perhaps burdensome. Perhaps it
3 could be done in units and I'm certainly willing to discuss
4 that with anyone, because it does get down to the point
5 where it becomes really time intensive for the grantee and
6 the recipient to be able to comply with all the
7 requirements that are in the existing grant.

8 For the future manufacturing grants they should
9 be anticipated to change, as I've mentioned. And I really
10 think that's important, because if you think it's going to
11 stay the same you're probably going to be wrong. But if
12 you think it's going to change you will probably always be
13 right. And I've found that to be true in this particular
14 project and in others that EDI has done.

15 I really want to thank the Energy Commission for
16 its resilience as EDI has asked for that resilience to make
17 sure that as the project goes forward, the Commission can
18 adapt to the needs that EDI is seeing.

19 This is a give and take discussion, back and
20 forth with the Energy Commission. And I think EDI has
21 enjoyed that, because I think both learned from this. I
22 think the Energy Commission is able to learn from what is
23 really happening in the industry. We are in the Energy
24 Commission building and the folks in this building cannot
25 be everywhere at once. So I think it's important that that

1 input comes from their project partners and in a way that
2 can be readily used and adapted here at the Energy
3 Commission to make the program better and more nimble.

4 The data collection and analysis task should be
5 reevaluated and modified, especially in this particular
6 area. But it might be a good idea to take a look and see
7 what type of data would be most beneficial and not just
8 that which is usually in the contract, a six-month period
9 and that sort of thing. But just to maybe refine that and
10 modify it to be more responsive to the particular funding
11 opportunity that's made available.

12 And finally the equipment materials budget could
13 be more flexible. And I understand the balance between
14 fiscal and accounting and making sure that the program runs
15 as expected. And so that is the challenge right here, is
16 to make sure that the modifications could be allowed
17 without triggering a formal amendment process, which for
18 these small companies the time that they have is really a
19 part of the capital. I know Kent mentioned financial
20 capital, human capital and in a way time capital. Capital
21 is very critical for this, because you can lose time that
22 is very valuable. And as I say some of the partnerships
23 that you strike can become very brittle in that time of
24 waiting.

25 The success for EDI from its association with the

1 Energy Commission, is outstanding. I have to say it again.
2 We've had several successful grants and are under contract
3 for several others right now. But the major partnership
4 that the Efficient Drivetrains, Inc. has struck with the
5 California Energy Commission is, I would say the number one
6 factor in making EDI much more attractive to investors and
7 to secure lines of financing.

8 A partnership with the Energy Commission made EDI
9 more attractive to these investors. And I do believe that
10 the current grant we're talking about, the Manufacturing
11 Workforce Development Grant was one that Cummins really
12 honed in on. They were really interested in this, because
13 the capability of EDI is not just in their IP, but it is
14 what they have established as far as relationships and the
15 manufacturing facility itself right square in the Silicon
16 Valley.

17 This solidified EDI's presence in California. It
18 created 50 jobs, paid \$16 million in salaries and benefits
19 and paid patent royalties of over \$2 million to the
20 University of California system. It has attracted \$13
21 million in foreign investment. So this partnership was
22 such a positive shot in the arm for this fledgling company
23 that you really can't overstate the importance of the
24 partnership that EDI has with the Energy Commission.

25 An important piece of the fulfillment in this was

1 a part of Cummins' due diligence. They visited the
2 facility. They, basically I understand the EDI folks, they
3 were there for a couple of weeks and every day. And just
4 checking their operation to make sure that everything that
5 was presented was validated and they were able to do that.
6 But they were confident of that because of the process that
7 EDI had entered into with the California Energy Commission,
8 which is basically for many companies in this fledgling
9 area a valuable third-party evaluation vote of confidence
10 for those companies.

11 This supports high quality job creating and
12 retention in California. A matter of fact, I understand
13 that there are several Tesla engineers and technicians that
14 are now working at EDI, because Tesla is just a couple of
15 miles down the road. So in that area there's an awful lot
16 of high technology, high capability people working in the
17 industry, this general industry of electric vehicle
18 transportation. But it can be cross pollinating, because
19 of the location and to see that California has fostered
20 such a kind of an incubator within its own state is a real
21 benefit to the State of California.

22 Training in the specific areas targeted at
23 advanced vehicle deployment. At EDI, they have basically,
24 in every one of their proposals, provided an aspect to
25 access the workforce development component. Whenever

1 possible they're trying to hire from the local area and
2 from feeder programs such as the one that John has and
3 others, that could be very beneficial. I think that is a
4 critical part of the pie here, is that the training and the
5 workforce development in California is going to find that
6 these folks that are going through these programs are going
7 to find likely good jobs in this sector. Because it is a
8 very competitive sector, but it is a growing sector and
9 this is an area that California has become known for over
10 the 20 years I'm familiar. But at this critical stage,
11 when California is leading the way in many of these
12 advanced vehicle technologies, I think it's really critical
13 that California keep the pace of workforce development and
14 workforce training and advance it whenever possible.

15 Because in EDI's case, which is a completely
16 California company including not only the people that work
17 here, the location, but also the IP patents portfolio from
18 the UC Davis system, has been critical for them. This is
19 truly a localized company. Yes, they do sell many units to
20 China, for example, and they've gotten investment from
21 China. But they've never forgotten their roots here in
22 California and again remain to be very grateful for the
23 association they have with the Energy Commission.

24 Some of the specific skills targeted for their
25 advanced vehicle development are control systems, the high

1 low voltage electrical, the lithium ion battery testing,
2 the drivetrain dynamometer testing and PEMS testing, which
3 is the Portable Emission Management System.

4 And here's a view of what EDI looks like these
5 days. It used to be quite open. You had several PG&E
6 trucks. They've done several PG&E trucks over time,
7 straight with PG&E without any funding. And they've had
8 the power takeoff unit with PG&E that has become fairly
9 famous. It was in the Lake Fire where they deployed that
10 vehicle up to the headquarters, the Red Cross headquarters
11 in Lake County, during the fire. They were able to, from
12 that vehicle power the displacement center, if you will. A
13 lot of the folks that were displaced by the fire were
14 there. They could do everything from be in a lighted room
15 to charging cell phones, which we've become so dependent on
16 and are critical to let people know that they're all right.

17 For several days, this PG&E power takeoff unit
18 was providing up to 100 kilowatts to these dislocated folks
19 in the midst of the fire emergency. But now as you can
20 see, and I know Kent mentioned the difficulty with the
21 wiring harnesses, and you can see in the lower left is a
22 picture of their wiring harness fabrication part of their
23 manufacturing floor. Above that is the software testing
24 that they're doing and in the middle of large battery pack
25 that's ready for shipment. And on the right, these are all

1 part of, I think the Blue Bird shipping of the 200 units
2 for their Blue Bird EV school buses.

3 Right now EDI is producing about one per day of
4 these units. And they hope to increase that up to 2,000
5 drive systems per year. And that's as soon as next year.
6 Obviously the association with Cummins is going to help
7 support that and make sure that they can smooth the way to
8 make sure that they can achieve that type of production.
9 And I think that everybody at EDI is really quite confident
10 they can do that especially with the vote of support that
11 Cummins has given them by acquiring them in total.

12 EDI will operate as an existing unit within
13 Cummins. And many of the folks that are at EDI right now
14 will still be operating that unit for Cummins.

15 Some of the components in the system that they
16 are using right now at their facility are the battery test
17 lab, the metrology lab, the development test lab. And the
18 drivetrain dynamometer, as I mentioned is not a chassis
19 dynamometer, so they've downscaled that, but that makes it
20 much more useful for the products that they are shipping.
21 Because they are not shipping vehicles they are shipping
22 the drivetrains, so that's more important to have that on a
23 dynamometer. The emissions measurement system they will
24 have that capability as well. The PowerDrive system
25 production, they're going to reach 2,000 systems per year

1 next year. And they will be training their technicians and
2 they will be added as needed.

3 As I mentioned, Jean-Baptiste Gallo is not able
4 to be here. He's traveling actually, he's going back to
5 Indiana and as part of their incorporation, their
6 incorporation training into Cummins. And he's sorry he
7 couldn't be here today, but asked me to help out.

8 That's his presentation. I'm happy to answer any
9 questions that I'm knowledgeable of. If I'm not, I'll take
10 your questions down and I'll make sure that we get you an
11 answer as soon as we possibly can.

12 I know we're holding you from lunch, but while
13 we're waiting, remember the breakfast you had? Wasn't it
14 fulfilling? You're really not hungry now? Okay.

15 (Laughter.) So thank you very much for your attention. I
16 appreciate it.

17 COMMISSIONER SCOTT: Great, thank you very much
18 Peter. Let's turn to our panel of reviewers. Margaret,
19 would you like start again with questions?

20 MS. MANN: Sure. Thank you, Peter. I wanted to
21 know a little bit about how Cummins supply chain is going
22 to be made available or even insisted upon within EDI. I
23 guess what I'm saying is can EDI benefit from the existing
24 Cummins supply chain, or how different are those two supply
25 chains?

1 MR. WARD: Well, they are much -- really
2 different I think, because you have one company of 50
3 employees that is just now trying to absorb a company with
4 57,000 employees and I hope they'll be able to do that
5 seamlessly. But I do think that all kidding aside, that
6 EDI is going to benefit directly from the existing supply
7 relationships that Cummins has in this country and around
8 the world. I can't imagine that it could do anything but
9 benefit from that. I don't think we have much detail about
10 that and I don't know if I had the detail I could even
11 mention it. But that's what I'm assuming. And I think
12 that most people from EDI are assuming that the doors will
13 be open for supply chain relationships that they could not
14 access prior.

15 COMMISSIONER SCOTT: Debra?

16 MS. SANDOR: Thank you.

17 So I had a question I didn't quite understand, so
18 you have facilities in California and then also in China?
19 Are they all producing the same drivetrains or what is the
20 role of the facilities, if that's what they are, in China?

21 MR. WARD: The facilities in China are basically
22 I think to install the drivetrains into the existing bus
23 platforms. Like I said they have 200 plug-in hybrid
24 electric vehicle platforms in buses right now in China.
25 And I think that was pretty much the extent of it as a

1 joint venture over there with Chinese companies to be able
2 to provide their drivetrain and then to assist them in
3 installing it and operating it.

4 So the two facilities that they have wholly and
5 completely owned by EDI or now Cummins are the one in
6 Dixon, California which was the start, close to Davis. And
7 now the one in Milpitas established by this grant.

8 MS. SANDOR: I guess I was also curious about the
9 split. How many drivetrains go to China versus how many
10 stay in California or the U.S.?

11 MR. WARD: They're going to be focusing primarily
12 on the U.S. market. I think what they initially did with
13 China was because they had capabilities in China and they
14 were getting investment from China. That they provided
15 some of these drivetrains to trucks and buses in China
16 based on those relationships.

17 I think that was at a time when EDI needed that
18 type of foreign investment to survive and to continue. But
19 I do see now the world has changed significantly with its
20 purchase by Cummins and I think that Cummins is obviously a
21 worldwide supplier. And so I think there'll be lots of
22 different supply chains involved with them and different
23 customers and clients all across the world. But probably
24 not based on the associations that EDI has struck,
25 primarily in China to date. So it might be a whole new

1 slate of customers and developmental areas for this
2 drivetrain.

3 COMMISSIONER SCOTT: Frank?

4 MR. RAMIREZ: Thank you. As you mentioned China,
5 I can't help but think about the tariffs that are coming,
6 or that have been impacting a lot of companies and
7 industries. How do you foresee that impacting yours? I
8 know at least out of the Port of L.A., I don't know where
9 you ship out of, but at least 20 percent of their activity
10 is being impacted by these tariffs. I'm curious if you're
11 doing your proper risk assessments and so forth to
12 understand that potential liability.

13 MR. WARD: Well, because they're not -- I don't
14 think they're really sourcing steel from China at this
15 point for their production here in California. And for
16 Cummins, I don't imagine that's going to change. So I'm
17 not sure they're affected by that. Of course, there's an
18 added price. Any time you have a tariff you're going to be
19 paying more even at home for that commodity.

20 I think that I'm sure that they're going to have
21 to deal with it, because it is unfortunately this new level
22 playing field, this new normal that we've gotten with these
23 tariffs. Most suppliers and most manufacturers will have
24 to deal with this in the same way.

25 Now with Cummins, the primary for EDI, I think we

1 might have a better buying power situation. They might
2 have a better supply chain situation that will protect them
3 from some of the negative consequences of these tariffs. I
4 believe that can only be benefitted from a 50-employee
5 company to this larger 57,000-employee company. I think
6 they'll be having a better reach and a better capability of
7 sources of supply for raw materials and for the components
8 that need to be put into these drivetrains.

9 MR. RAMIREZ: And then, thank you, and in the way
10 of workforce developments I appreciate what you're doing.
11 And it sounds like you're moving in the right direction, in
12 working with the community colleges and other
13 organizations. I'm just curious though, a smaller entity
14 such as yours, are you thinking about efficiencies in your
15 production and as it relates to say artificial intelligence
16 or electrification of your activities and how that relates
17 to potential workforce in the future?

18 MR. WARD: Yeah. I think they are obviously
19 monitoring all the AI. And with Cummins I'm sure they are
20 probably ahead of the game and they probably are not
21 telling anybody where they are on that. But I think you'd
22 be remiss not to pay attention to what is happening in that
23 field.

24 I think that the IP, and the patented IP that
25 Professor Frank has developed over 40 years at UC Davis,

1 puts them in an excellent position to better understand how
2 the logistics -- and how the logic behind these vehicles
3 and the system. I think they'll be able to adapt that
4 better than maybe other companies that have not had that
5 experience. I think that puts them in an awfully good
6 spot, because this has been 40 years in the development of
7 this now overnight success.

8 MR. RAMIREZ: Thank you.

9 COMMISSIONER SCOTT: I had a question for you,
10 Peter, on the six months of data collection. And one of
11 the reasons as you know that we require that information is
12 so we have great information about the projects, how they
13 came along, again some of the lessons learned and successes
14 that you've been kind enough to highlight here. But also
15 to capture benefits. When we put together our benefits
16 report that we're reporting back it's usually part of the
17 Integrated Energy Policy Report. And so the most obvious
18 one I think is jobs.

19 But I think we would certainly be open to other
20 metrics for success in the manufacturing space that we
21 ought to be thinking about or articulating or highlighting
22 as we go through the benefits. Because you are correct in
23 that it's not going to be a reduction of greenhouse gases,
24 for example, right? But there are other great benefits to
25 this, which is why the Legislature put this as a component

1 of the program.

2 And so to you or to any of the others, and I know
3 it's lunch time so maybe I'll let you noodle on that and we
4 could talk about it a little bit after lunch or if folks
5 who are listening on the WebEx, you know we're always open
6 to those ideas. And so if you've got ideas about the best
7 way to kind of capture the benefits of bringing
8 manufacturing like this to California I think we're really
9 open to it and would love to hear it.

10 MR. WARD: I think we'd love to discuss that with
11 you for sure.

12 COMMISSIONER SCOTT: Okay. Great.

13 And then let me just remind folks before we
14 break. Thank you, Peter, very much for your great
15 presentation and Kent as well.

16 Tim is holding a blue card in his hand here. If
17 anybody on the public would like to make a comment please
18 fill one of those out. Give it to Tim or to Tami. They'll
19 get them up to me and that's how we know you'd like to make
20 a public comment. That'll be at the end of today's
21 workshop.

22 We have out front where you picked up your
23 presentations, there's a list of restaurants in case people
24 are looking around for places to go and grab lunch. And so
25 it's 12:00 o'clock. We'll start back up again right at

1 1:00 p.m., so see you then.

2 MR. WARD: Thank you.

3 (Off the record at 12:01 p.m.)

4 (On the record at 1:10 p.m.)

5 COMMISSIONER SCOTT: Welcome back everyone, this
6 Commissioner Janea Scott. We are going to continue with
7 our afternoon of our Technology Merit Review for Advance
8 Technology Vehicle Infrastructure Manufacturing and
9 Workforce Development. And we're going to start our next
10 presentation is from Mike Simon, the President and CEO of
11 TransPower. And I'm not sure if Tim wants to do further
12 introduction? No, he's good.

13 And then just to update our times a little bit,
14 Mike, we'll start with you of course at 1:10. Maybe your
15 presentation goes until about 1:35-1:40. That leaves us
16 10, 15 for questions and discussion. And then we'll just
17 push each of ours up by about 10 minutes, so Deborah,
18 that'll put you at 1:50.

19 MS. DONAHUE: Okay.

20 COMMISSIONER SCOTT: All right. So Mike, thank
21 you for being here. Please take it away.

22 MR. SIMON: Perfect. Well, thank you,
23 Commissioner Scott. I really appreciate your graciousness
24 hosting us here and all the support you and all the other -
25 - your colleagues, Tim and everyone have given to

1 TransPower over the years.

2 It's always a pleasure to come here and to give
3 you an honest update on what we're achieving. I'll try to
4 be as honest as possible about successes and failures we've
5 seen, because they say you learn more from your failures
6 than your successes. And I think that the best way for the
7 Energy Commission to understand where it's future
8 investments can be best directed are at solving problems
9 that aren't yet solved. So I will try to focus on -- I'll
10 try to promote what we've accomplished, but I'll also try
11 to balance that with candid disclosures of areas that where
12 we feel additional investments are still needed for us and
13 the industry to get where we want to go.

14 So for those who aren't familiar with TransPower,
15 we develop and manufacture electric and hybrid and fuel
16 cell propulsion systems, targeted at the largest and
17 heaviest vehicles on the road. And we also have a
18 secondary business, taking the batteries that we use in
19 these vehicles and the power conversion technologies and
20 adapting them to stationery battery energy storage
21 applications.

22 We were founded in 2010. We were jump started by
23 a grant from the California Energy Commission that was
24 awarded that year, which started in early 2011. Our most
25 recent major development is we entered into a long-term

1 strategic partnership with Meritor, last November. Meritor
2 is one of the world's leading manufacturers of axels and
3 brake systems for commercial vehicles, including large
4 trucks and is a publicly traded \$4 billion a year
5 corporation.

6 As of last count, we have approximately 75
7 employees or will at the end of this month, including
8 employees we're hiring right now. We'll have about 75
9 employees total at the end of August.

10 To put that into perspective, last August we had
11 32 employees. So we've more than doubled our California
12 workforce here. Basically all these employees are based in
13 California. And our projected revenue for this year is \$15
14 million.

15 I've summarized on slide 3 here the collaboration
16 that we've had with the California Energy Commission.
17 Listed in quotation marks are some of the specific projects
18 that have been funded. These aren't even all of them.
19 But I group them into three phases and you'll see me
20 returning to this theme. It turns out that the development
21 and perfection and commercial ramping up of these
22 technologies that we're developing is turning out to be a
23 12-year battle, 12-year game plan. And we're about six-
24 and-a-half years into that, so we feel we're a little more
25 than half way there. And when I say a 12-year game plan

1 that's to get to the point where we're producing hundreds
2 if not thousands of drive systems per year. So we're
3 projecting that we're about half way to achieving that
4 goal.

 The first, and I divide this 12-year
5 horizon into three 4-year segments. The first four years
6 from 2011 to 2014 we were basically developing, doing a lot
7 of learning, developing basic technologies, basic
8 components and demonstrating proof of concept.

 And over that period with the Energy Commission
9 funding, we received and funding from other sources, mostly
10 public agencies, we deployed a fleet of seven electric
11 drayage trucks and a 1 megawatt battery system. Three of
12 those drayage trucks are operating today. Three will be
13 upgraded to fuel cell trucks and the seven will be upgraded
14 to a better electric truck, during the next year or two.

 The middle phase, the middle four years of our
16 evolution from 2015 through the end of this year I
17 basically characterize as expanded manufacturing. And
18 during this period, we pursued funding to expand both the
19 number of vehicles that we have out on the road and also
20 the types of vehicles. And you see some of those types of
21 vehicles pictured here. There's a drayage truck on the
22 top, a yard tractor below that, a reach stacker below that
23 and a refuse truck below that. And these vehicles are all
24 in various stages of service and operations.
25

1 The refuse truck is not yet in service. Our
2 first refuse truck is complete, has been undergoing road
3 testing and recently we decided to upgrade the battery pack
4 on it, but we hope to have that vehicle operating, actually
5 up here in Sacramento within the next 60 days or so. And
6 it's the first of three refuse trucks that were funded by
7 the Energy Commission under the Heavy-Duty Electric Refuse
8 Truck Project that you see.

9 So under the four middle Energy Commission
10 grants, we are building a total of 13 vehicles. Of those
11 vehicles, 9 are currently in operation, the 10th is one
12 more yard tractor that will be delivered also here in
13 Sacramento that will be operating at the Farmers' Rice
14 Cooperative. And that will be delivered around the end of
15 this month. And then the three remaining vehicles are the
16 three refuse trucks. And that'll bring to 13 the number of
17 CEC-funded vehicles that we are building in this middle
18 phase.

19 Starting next year, we see our emphasis shifting
20 to commercial scale up. And this is really where we see
21 the next big investment, where we think the next big
22 investment should be made is in developing the technologies
23 to really enable these demonstration vehicles. We will
24 have approximately 40 or 50 vehicles in operation by the
25 end of this year, first quarter of next year. But we need

1 to produce that many vehicles, or that many drive systems,
2 every few months, instead of every six years.

3 So to get to that level, a couple of things need
4 to happen. Number one, the components and systems we've
5 developed need to be made absolutely bullet proof. They
6 need to be made super reliable, made to achieve a high
7 level of reliability and a longer mean time between
8 failures than we've seen in the field so far.

9 And secondarily, we need to drive the cost down.
10 We need to drive the cost of these components and
11 technologies down, so that it will stimulate demand for
12 large-scale deployments.

13 Without getting too technical, the products that
14 TransPower has developed interface with all the major
15 components. We don't manufacture our own electric motors.
16 We don't manufacture our own batteries, but we produce
17 almost everything that connects those types of components
18 together, including controllers at the system level. And
19 we kind of show it in a pyramid fashion to show the
20 hierarchy. We then have an inverter charging it that
21 controls the motors and also charges the batteries in an
22 innovative combined package. A powertrain controller that
23 does shifting, with the automated manual transmission we
24 use, the battery controller. And then various other
25 accessories for power steering and braking and battery

1 management and so on. And I could spend an entire hour
2 talking about this slide, but I just wanted to give you
3 sort of a glimpse of what it is we develop and manufacturer
4 and purchase from suppliers around the world.

5 I'm going to focus on four Energy Commission
6 grants we have in process right now. We actually have a
7 couple of other smaller grants in various stages of
8 (indiscernible). The four big ones, each of these four
9 projects that we have were funded in 2015 during the last
10 big round of awards for medium and heavy-duty vehicle
11 demonstrations and manufacturing. We were fortunate enough
12 to win three vehicle demonstration grants and one
13 manufacturing grant, all valued at about \$3 million. So
14 the next four slides will show you how we've been spending
15 this \$12 million over the past three years.

16 First of the four projects I'm going to talk
17 about is the project we call Advanced Battery Electric Port
18 Vehicles. And the contract number is shown there. The
19 goal of this project was to develop five electric vehicles
20 and put them in service at the Port of San Diego. These
21 vehicles are all operating right now at the Port of San
22 Diego. The two trucks and two yard tractors are being used
23 by end users, by terminal operators. The reach stacker is
24 in final stages of testing. It is functional. It needs a
25 bit of additional controls, refinements, but we expect that

1 to be used in routine use within the next few weeks.

2 In terms of these types of vehicles the 50,000
3 miles is a broader number. We haven't achieved that many
4 with these particular vehicles. But actually, in terms of
5 the types of vehicles shown there we've actually
6 accumulated almost 150,000 miles of actual operating use to
7 date in the last three, three-and-a-half years. And we
8 expect that number to start to increase exponentially with
9 these additional vehicles that are being deployed. All the
10 five vehicles shown in this slide were basically delivered
11 this year. The two electric yard tractors being operated by
12 Dole, you can see a picture of one of those tractors down
13 below. And the two electric trucks, one is being operated
14 by BAE systems and the other by a company by a company
15 called Terminal Lift. And the reach stacker is also being
16 operated by Terminal Lift.

17 Since we received this award, the Port of San
18 Diego has gone on and acquired several additional awards
19 from the Energy Commission and others. So we're proud of
20 the fact that we helped stimulate their interest in
21 electric vehicles and other companies are now supplying
22 electric vehicles to the Port of San Diego as well.

23 Also, I think as a direct result of this, we were
24 able to receive an award from the California Air Resources
25 Board for seven additional electric vehicles that are being

1 operated at the Port of Los Angeles. And of those seven
2 vehicles four have been delivered, two electric trucks and
3 two electric yard tractors.

4 The only reason why they haven't been in use is
5 because there has been a process of getting UL
6 certification of the charging equipment we installed. That
7 certification was just received a couple of weeks ago and
8 now it's just up to the Port of L.A.'s building inspection
9 group to go out. Hopefully they'll do that this week. And
10 Pasha, which is the terminal operator will be able to use
11 those four vehicles.

12 We also will be delivering three electric
13 forklifts, high tonnage electric forklifts, which will be a
14 new vehicle for us. The first of those vehicles is
15 scheduled to be complete in about a week or two. And three
16 of them will be delivered before the end of the year to the
17 Port of L.A.

18 Dole is so impressed with the electric tractors
19 that they've received from us that they are talking about
20 possibly seeking funding to electrify their entire yard
21 tractor fleet in San Diego.

22 The second of the four projects that I'm
23 spotlighting is our Heavy-Duty Electric Yard Tractor
24 Project. The goal here was to build five electric yard
25 tractors. The major immediate accomplishments as we

1 adapted a variant of our dive system to Kalmar's new T2
2 tractor, which is a new tractor model they just came out of
3 years ago. And even more significantly, this is the first
4 time we used Nissan LEAF batteries, which are so far, from
5 what we've seen, superior to the batteries that we used in
6 all of our prior vehicles.

7 And if you want to understand what works, our
8 successes and our failures, it's the batteries.
9 Everything, 90 percent of the problems we had with the
10 vehicles we put on the road over the past five years are
11 one way or another related to batteries either batteries or
12 battery management, or DC-DC conversion to get the high
13 voltage from the battery pack down to a low voltage for the
14 accessories. With the Nissan batteries we are expecting
15 those problems to be diminished greatly, because the
16 battery quality is so much greater and requires less
17 balancing and less sophisticated controls. And we think
18 that's also going to drive costs.

19 Best of all, these Nissan LEAF batteries are
20 manufactured here in the U.S., in Tennessee. So prior to
21 that we imported nearly all of our batteries from China and
22 so we believe we're one of the few companies that's
23 actually using a completely manufactured in America battery
24 solution.

25 And the five electric tractors being deployed on

1 this program are being deployed in disadvantaged
2 communities up and down the San Joaquin valley and
3 Sacramento. One is with Ikea. One is with Harris Ranch.
4 One is with Grimmway Farms. One is with a Blue Diamond
5 Almond facility, here in Sacramento. Those four tractors
6 are all operating on a daily basis. And then the fifth
7 will be delivered, as I mentioned, to the Farmers' Rice
8 Cooperative.

9 For the long term this project has had a huge
10 impact for us and the industry. It resulted in Kalmar, the
11 largest manufacturer of yard tractors, signing a five-year
12 supply agreement with us last year. They are now, Kalmar,
13 marketing these electric tractors worldwide. In fact they
14 want us to install our system into a European model of
15 their tractor, by the beginning of next year.

16 And Kalmar has made a commitment to have electric
17 versions of all of its products. They also build reach
18 stackers and forklifts and other types of cargo handling
19 equipment. They're a global company. Their parent
20 company, Cargotec, is based in Sweden. And Kalmar has
21 committed to electrify its entire product line by 2021. So
22 these projects are having a huge impact, huge impact.

23 The Electric Refuse Truck Project is not as far
24 along as the other projects, partly because we really
25 focused on these. We didn't expect to win four all at

1 once. So we've had to sort of spread our efforts out a
2 little bit and we prioritized those first two projects.
3 But now we're ramping up on the refuse truck to get these
4 three trucks all deployed by the end of this year.

5 And you see the first truck there. It's been
6 exhibited at several trade shows. It's a Peterbilt truck.
7 Peterbilt is extremely enthusiastic about this project.
8 And again in terms of impact, lasting impact, this resulted
9 directly in Peterbilt selecting us to provide drive systems
10 for 12 electric drayage trucks, which it has gotten funding
11 from the ARB to build. The first of which is shown there.
12 All 12 of those trucks are going to use Nissan batteries.
13 In fact all three refuse trucks are going to use Nissan
14 batteries.

15 We also have a project with Peterbilt to build
16 two fuel cell drayage trucks.

17 And most recently, a project to build seven
18 beverage delivery trucks that will be operated by a major
19 beverage company. I don't think that project has been
20 publicly announced yet, so that's all I can say about it.

21 We have proposed to build additional refuse
22 trucks with Waste Management. We're waiting to hear from a
23 different funding agency about the result of that funding
24 request.

25 And finally, the fourth of the major projects I

1 want to -- by the way I want to give a shout out for the
2 prior three projects to Marc Perry, who's been managing
3 those three projects and doing a heck of a job. And we
4 love working with Marc, very dedicated.

5 And similarly on this project, the Heavy-Duty
6 Electric Vehicle Manufacturing Initiative, Don Coe has been
7 managing that. And he has been just a pleasure to work
8 with for the last four years and we really appreciate all
9 the guidance and support he's given us. So thank you. I
10 really want to commend your staff on the tremendous
11 assistance they've given us.

12 This manufacturing initiative has just been
13 tremendous. You can see on the top, some of the machine
14 tools we purchased using this funding. And there's a
15 vertical mill. There's a water jet cutter that uses a
16 stream of water that can cut through six-inch thick steel.
17 There's a metal bender shown there and also a custom tester
18 for inverters that was designed and built by EPC Power here
19 in California.

20 That last item is important because EPC, which
21 designed the inverter charging unit we use in all of our
22 vehicles, is not a manufacturing company. So after they
23 designed it they outsourced the manufacturing of it to a
24 company in Alabama. And when we found out that these
25 inverter charging units that we were buying were being

1 built in Alabama, we asked EPC if they would just license
2 the technology to us, so we could build those inverter
3 charge units here in California.

4 And so we've shifted that manufacturing from
5 Alabama. We've actually in-sourced jobs from Alabama to
6 California and we build all of our inverter charge units
7 right here in California. And that piece of test equipment
8 you see in that lower left photo in the top half is the
9 tester, what we do the final testing of those inverter
10 charging units with before we install them in the vehicles.

11 What this grant has given us is a foundation that
12 helps to track Meritor's investment in our company. And
13 that's an investment in the tens of millions of dollars.
14 And the goal that Meritor has is to scale up to hundreds
15 and then thousands of drive systems per year, starting next
16 year. So we think that this grant has established a great
17 foundation and in future rounds of funding, we'll be
18 looking for support to truly ramp up to these much higher
19 numbers.

20 Our vertically integrated business model is that
21 we will manufacture and source the hundreds of components.
22 Each of these drive systems has anywhere from 800 to 1,400
23 different parts and components that some of which we build
24 and some of which that we buy from suppliers from around
25 the world. Mostly in the U.S. though.

1 We assemble those into three major subsystems:
2 the Motive Drive Subsystem that turns the wheel, the
3 Battery Subsystem that stores the energy and a Power
4 Control and Accessory Subsystem that connects everything
5 and controls everything. And we sell them to major truck
6 and tractor and school bus manufacturers such as those
7 shown here.

8 We also convert vehicles. We have a separate
9 second facility that we established just to do vehicle
10 conversions. Altogether we have 70,000 square feet of
11 production space now. We do vehicle conversions, because
12 some of these big truck manufacturers are not ready yet to
13 do the conversion out on assembly lines. So until they're
14 ready to do that, we are the vehicle converter of last
15 resort. And we can do a turnkey conversion and we believe
16 we not have the capacity to convert up to 150 vehicles a
17 year at our facilities.

18 I'd like to just take a moment to talk about the
19 stationery energy storage that's kind of a bonus technology
20 that we developed. Early on, we received a contract from
21 the Energy Commission through the PIER Program that we
22 called "Grid-Saver". And we developed FAST energy storage
23 system, a 40-foot container, which you see in the lower
24 left corner photo. You see the interior up above that.
25 That was tested at Sandia National Labs. In fact the photo

1 in the lower left corner was taken at Sandia. It was the
2 largest battery system ever tested by them. It was
3 connected to the grid and showed the ability to put power
4 in and out of the grid.

5 Since then, we took the same basic modular
6 battery technology and we've adapted it to a Subway
7 Traction Energy Storage system, which is currently
8 operating in New York City. You can see six cabinets there
9 in an aerial view. Three of those cabinets have been
10 operating. One has been operating for over two years, 24-
11 7. The next two were delivered earlier this year and have
12 been operating since about March. And then the last three
13 were just delivered a few weeks ago and are being connected
14 as we speak. The entire system, expanded system of six
15 cabinets will provide 700 kilowatt hours of total energy
16 storage, which is enough to move ten subway trains to the
17 next station if there's ever a power outage.

18 It also on a day-to-day basis, storage energy
19 that's captured from subway trains when they slow down and
20 enter stations and then releases that energy to help them
21 accelerate, saving money. Once all six cabinets are
22 installed, we're going to do a study to see how much money
23 it's saving New York City Transit. But we believe it's
24 going to save them hundreds of thousands of dollars a year
25 and pay for itself within a few years.

1 Okay. In the early days of our development, the
2 major issues that we're confronting the adoption of
3 electric technologies by really big 80,000 pound trucks
4 were basically they didn't work. They didn't have enough
5 power. They just didn't work. And when they did work they
6 only worked for a very short period of time. We've solved
7 those problems. We have more than enough performance to
8 move 80,000 pound trucks at speeds faster than the CHP
9 would want them going and up the steepest hills. We've
10 driven trucks back and forth between San Diego and Los
11 Angeles over steep grades, taking the mountainous routs
12 through Interstate 15, as well as the coastal routes.

13 So now the current adoption issues we've seen
14 over the last few years are lack of charging
15 infrastructure, insufficient operating range, which is a
16 function of just battery technology and the high cost of
17 these vehicles. So those are things we really need to work
18 on as a community and solve these problems over the next
19 few years.

20 The Nissan batteries, because of their
21 superiority, will get an operating range higher by about 50
22 percent, maybe even double it. But we really need to
23 quadruple our operating range to get to where the trucking
24 industry would like us to go. So we still have a path
25 ahead of us.

1 To address these needs, as I mentioned, the
2 Nissan Batteries, you can see there those little silver
3 blocks you see are exactly the same battery blocks that
4 Nissan puts in the LEAF car. We just stack them together
5 in our own configuration and use a larger number of them in
6 our trucks. So our latest generation truck can be equipped
7 with up to 440 kilowatt hours of battery power, which is
8 enough go about 150 miles fully loaded. And that's a big
9 improvement over the 65 or 70 miles we're getting today
10 with the older batteries.

11 We are doing everything we can, also, to reduce
12 the truck costs, simplifying our design. Meritor has a new
13 product I'll talk about that can reduce costs. And of
14 course scaling up to get economies of scale is a major goal
15 of the last four-year plan of ours.

16 So I've mentioned Meritor a couple of times.
17 This is a slide we both show to show what the synergies are
18 between our two companies. We're a small nimble innovative
19 company that can reinvent itself and reinvent our products
20 very quickly. They're a gigantic manufacturing firm that
21 can produce products repetitively at very low cost.
22 They've got factories across the U.S. and around the world,
23 in fact. And they have a new product, called an E-Axle,
24 which we're helping them to demonstrate in a variety of
25 different types of trucks. It's basically an axle with an

1 electric motor embedded in the axle. And the inverter for
2 that motor, located right near the axle. That reduces the
3 number of parts that you need and will make it much faster,
4 easier and cheaper to install an electric drive system into
5 a truck.

6 So we have a school bus right now operating with
7 the E-Axle in it. And we're expecting to -- our plan is to
8 have it operating in our first truck within the next two or
9 three months. And perfecting this technology and adapting
10 it to a wider range of vehicles is going to be one of our
11 major thrusts and where we were going to be seeking support
12 over the next few years to augment the millions of dollars
13 that Meritor is already investing in this technology.

14 So we see right now, as I mentioned, we have a
15 truck that can get you up to about 150 miles. But we have
16 to sell it for about \$400,000, even just to make a modest
17 profit. And where we want to get is we want to double the
18 range and cut the price in half. And that's -- over the
19 next five or six years, that's what we believe needs to
20 happen for this product to really take off and to be
21 sellable without continuing subsidies forever and ever.

22 We can probably sell a few hundred to maybe a few
23 thousands of these trucks in the interim, with continued
24 subsidies. But eventually we and Meritor want truck
25 operators to be able to come and buy these trucks without

1 any subsidization whatsoever and have a strong business
2 case for it. And to do that, this is where we think we
3 need to go.

4 Having said that I also want to express our
5 opinion that it's very important to manage expectations.
6 There are companies that have come out, that have said that
7 they will provide more than 300 miles and that they will
8 provide prices of less than \$200,000 and do all this within
9 the next year. And it's taken us six-and-a-half years to
10 get to where we are, so we think that's aggressive. We
11 think that's a bit overly ambitious. We think that's a lot
12 of hype. And it may be good for the near-term of stock
13 values of companies, might help them raise money from
14 investors who are not technically that savvy. But in the
15 long term if they don't meet those lofty expectations, it
16 creates skepticism about the whole industry.

17 So we think it's important and I'm not
18 necessarily accusing any of these companies of being
19 devious. A lot of them probably just don't really
20 understand what it takes. These heavy vehicles go through
21 a lot of abuse and they have very demanding duty cycles.
22 They're put through hell by their drivers. They drive
23 around ports and very poorly maintained roads with lots of
24 pot holes. And they have shock and vibration effects that
25 are very damaging to sensitive electronic components.

1 And these are the little details that may not be
2 that obvious if you haven't built trucks or truck drive
3 systems in the past. If you've only built electric cars or
4 if you're a startup company and you're coming up and you've
5 never really been in the automotive industry. If you come
6 to this purely from a software or a non-technical field, or
7 a non-trucking field, these are things that you learn over
8 time. It's why it's not easy. It's why Peterbilt and
9 Kenworth and Navistar are not selling hundreds of electric
10 trucks right now. If it was that simple, they'd already be
11 doing it.

12 So we believe this is going to continue to be a
13 gradual process and we want to stick with our 12-year plan,
14 see it through. And we think if we manage expectations and
15 we stay the course, we can be where we want to be in four
16 or five years and be selling hundreds of these, if not
17 thousands every year.

18 So in summary, we're again just past the midpoint
19 of what has turned out to be a 12-year plan. I didn't see
20 it as a 12-year plan when we started TransPower. I thought
21 maybe it would be a five or a six year plan, but even I was
22 optimistic. And the technologies keep changing, which is
23 good. And our key goals now are to improve reliability and
24 broaden, continue to expand into other applications to
25 stimulate greater demand. And in addition to improving

1 quality, reliability and driving costs down, establish and
2 improve our supply chain. And that's a big part of getting
3 costs down as well.

4 That will need less to scale up during this last
5 four-year phase and our goal is by 2023 is to really be in
6 high volume manufacturing. And so where we believe
7 resources should be deployed to help us stay on track, is
8 to continue funding small scale vehicle demonstrations.
9 The reason why small scale demonstrations are important is
10 because your fleet operators are just not ready to buy 20,
11 30, 50, 100 vehicles at a time. Especially now that
12 there're so many new entrants into the market, there are so
13 many new companies that are coming out of the woodwork
14 promoting electric drive systems and hybrid drive systems,
15 fuel cell drive systems. The fleet operators are really
16 confused. They don't know who to believe.

17 They hear these great claims and they sign up for
18 pre-orders and then the companies say, "Oh well, we were
19 just kidding." So they're basically just willing to --
20 even giant companies are really only interested in
21 demonstrating for the most part two vehicles, three
22 vehicles, five, maybe at the most ten vehicles at the time.
23 And we're not going to make any large purchase commitments
24 until they really sort this out and figure out who's
25 telling the truth and who's not.

1 So small scale demonstration programs that build
2 up their confidence are still very important and expanding
3 the number of fleets. And also staying with it, you know,
4 a lot of the tendency in grant funding over the years has
5 been to fund a demonstration project and if the vehicles
6 didn't work you just mothball them and move on to the demo
7 project. We think there are opportunities to take vehicles
8 that have already been demonstrated that maybe weren't
9 reliable enough or didn't have long enough operating range
10 to make the user fully happy. And not abandon them, but
11 actually improve those vehicles, stick with those vehicles
12 and improve the drive systems.

13 An example of that are three of the drayage
14 trucks that the Energy Commission funded three years ago
15 that didn't have enough operating range. We got funding
16 from the Air Resources Board, through the Greenhouse Gas
17 Reduction Fund to take three of those trucks and replace
18 the batteries with the new Nissan batteries and add fuel
19 cells to them. And that's going to increase the operating
20 range of those trucks from 70 miles to 200 miles. And
21 those trucks are expected to be re-deployed by the end of
22 this year, turning an existing asset that wasn't worth much
23 to fleet operators into a very valuable asset.

24 And of course infrastructure is very important.
25 Charging, standardizing charging, developing renewable

1 energy like solar and stationary battery storage to help
2 reduce the cost of electric charging and reduce demand
3 charges and stress on the grid and the capital investments
4 and the training that are needed to get to the high
5 production rates that we're looking for.

6 So those are our priorities, funding priorities
7 for the next four or five years. So that concludes my
8 presentation. Sorry if I ran a little bit over time, but
9 hopefully that was helpful.

10 COMMISSIONER SCOTT: Absolutely. That was
11 terrific information, another insightful presentation.
12 Thank you so much for taking time to come here and to
13 present to us.

14 Let's go to our reviewers and maybe just to
15 switch it up a little, I'll start with Frank and work back
16 over this way.

17 MR. RAMIREZ: Thank you.

18 COMMISSIONER SCOTT: You're welcome. Please go
19 ahead.

20 MR. RAMIREZ: Mike, I didn't hear much in the way
21 of workforce. Can you share some numbers, some larger
22 perspective numbers and what you're doing and what you're
23 going to be doing in the future as you ramp up and create
24 these marvelous vehicles? And in particular, you did
25 mention a group of four vehicles that are within the

1 disadvantaged communities, I wonder if you can expand on
2 that as well.

3 MR. SIMON: Certainly, Frank. I'd be happy to.
4 In terms of workforce our most critical need has been for
5 quite some time software skills, software engineering and
6 controls engineering in particular, but also the software
7 skills. These trucks are so dependent on computers, both
8 to control the vehicle and also to troubleshoot them to
9 service them. You know, even with a standard car to get it
10 smog certified it's plugged into a computer and you need
11 people to understand how to use these computers and
12 understand the software. And it's a step above what
13 happens at your smog station to troubleshoot and fix these
14 vehicles. So that's a critical skill.

15 Most of the other skills, there are readily
16 available talent pools. In fact, we're able to hire
17 standard diesel truck mechanics and retrain them to build
18 our vehicles and to build our drive systems. They have to
19 learn how to deal with high voltage systems. That high
20 voltage safety training is very important. We do that
21 ourselves. But obviously if there were formal training
22 programs and people that were available that already had
23 these skill sets, it would make it less time consuming and
24 expensive for us to train them ourselves. So those are the
25 things that stand out.

1 In terms of disadvantaged communities, the vast
2 majority of the vehicles that we have gotten funded
3 publically here in California are operated at least part of
4 the time in disadvantaged communities and some of them
5 virtually the time.

6 The Port of San Diego is right near the Barrio
7 Logan area of San Diego, which is a disadvantaged
8 community, so all the vehicles down there are positively
9 impacting the environment in that disadvantaged community.

10 The vehicles, the yard tractors that we have
11 operating in the San Joaquin Valley, Harris Ranch and
12 Grimmway Farms and at Ikea's distribution center south of
13 Bakersfield, those are all either in or very near
14 disadvantaged communities. And in fact I think even the
15 two Sacramento vehicles, the Blue Diamond Almond facility
16 and the Farmers' Rice Cooperative, are either in or
17 adjacent to disadvantaged communities.

18 The Port of Los Angeles, Port of Long Beach
19 Complex also there are disadvantaged communities, based on
20 high pollution scores and cancer rates in the vicinity of
21 the Port's, Wilmington, that area. So those vehicles, the
22 vehicles that go in and out of the Port of L.A. and Long
23 Beach, also operate and drive through disadvantaged
24 communities all the time.

25 So it's something we always look for. We

1 understand that's a high priority for the state and
2 environmental justice is very important to us. So we're
3 always looking for opportunities to focus on operating in
4 and near those types of communities.

5 COMMISSIONER SCOTT: Debra?

6 MS. SANDOR: Thank you.

7 I guess I was curious. You have a lot of
8 different applications that you're looking at and now is
9 what you're learning from all these different applications
10 translating back in theory to your component and to system
11 design, or even further back into how you're manufacturing
12 things? So I think it's probably necessary, looking at all
13 these different types of applications, because they're all
14 out there, but just how are you using that information to
15 help go forward?

16 MR. SIMON: Okay. That's a very good question.
17 Again, I think a lot of the learning that we're doing is
18 battery related. We know that these users need to have
19 super high reliability. So a truck that operates perfectly
20 nine days out of ten is not good enough, because they can't
21 afford to, every other week, have down time. And with the
22 complexity of hundreds of batteries and different vary
23 complex circuits being used to manage the batteries and
24 balance them and monitor them and operating in harsh
25 environments, we found that we have excessive numbers of

1 failures. Not necessarily the batteries, but of the
2 electronics that's monitoring them. And if you lose
3 communication with a battery pack you don't know what's
4 going on with that battery cluster or that particular
5 battery. You've got to stop and fix that, because if one
6 battery has a problem it can spread to the rest of the pack
7 and create a safety problem as well as damaging expensive
8 batteries.

9 So we're learning. That's why we searched for
10 new battery solutions that have higher quality batteries,
11 don't require as much active balancing and as much control.
12 And we can use less expensive, less complex and more
13 reliable battery monitoring systems. So we're going in
14 that direction.

15 We also have learned that the applications that
16 we have targeted are all obviously short-range
17 applications. There's no truck, no battery technology
18 right now that can propel a truck for five, six, seven
19 hundred miles, the kinds of distances that long haul trucks
20 need to cover. So we've been focusing on port drayage,
21 refuse trucks, yard tractor type applications that don't
22 require that type of operating range.

23 But we've also found that -- one of our premises
24 was that if you go to an operator who has a round trip to
25 the Port of only say, 25 miles, we figure that they would

1 be happy with a truck that had a range of 70 miles, which
2 is fully loaded where older generation electric trucks are
3 limited to approximately.

4 Well, we have a fleet operator that we delivered
5 an electric truck to that supports the Port of L.A., Port
6 of Long Beach. It's called National Retail Trucking. It's
7 a big nationwide firm. But their drivers are paid by how
8 many round trips they do each day. And their goal of each
9 driver is to do three round trips every day. So guess
10 what? Our trucks would do two round trips, but we're just
11 about ten miles short of being able to do that third round
12 trip. So after a few months the drivers just stopped using
13 our truck. They wouldn't use our truck, because if they
14 get a diesel truck they can do their three trips and they
15 make 50 percent more money than if they get in the electric
16 truck and only can do two trips.

17 So we've learned that's why we continued
18 searching for better batteries and higher energy batteries,
19 like the Nissan nickel manganese cobalt batteries. They
20 store about 50 percent more energy than the lithium ion
21 phosphate batteries we were buying from China. So now we
22 have a truck that we're just now building the first ones,
23 but we believe those trucks depending on how many batteries
24 you put on them will allow you to go anywhere from 100 to
25 150 miles. And we're eager to give one of those trucks

1 back to NRT and see if it makes their drivers happy. And
2 see if a combination of high reliability and that longer
3 range makes believers out of them and gets them to the
4 point where they want to electrify more of their fleet. So
5 those are just two examples.

6 COMMISSIONER SCOTT: Margaret?

7 MS. MANN: Okay. Thank you.

8 So I guess I have two questions. Can I ask two?
9 So the first is that you have said that you have a goal of
10 2,000 deliveries per year, about 2023?

11 MR. SIMON: Well that would admittedly be a
12 homerun for us in terms of number of drive systems sales.
13 But that's sort of at the upper end of what we think is
14 possible for our growth. With Meritor as a partner, they
15 could take the ball and run with it with much higher
16 productions levels than that. But in terms of what I think
17 is the highest reasonable goal for that timeframe would be
18 about 2,000 total drive systems.

19 If you look at our business plan it's based on
20 selling about 1,500 to 2,000 drive systems a year by that
21 timeframe.

22 MS. MANN: Okay. Well as Debbie was saying that
23 you have a lot of different vehicles and a lot of different
24 applications that you're targeting and the continued
25 testing of all of those different vehicles and all of those

1 different types of use environments. How are you
2 controlling and managing that kind of data, especially as
3 technology changes?

4 So this morning on my newsfeed I read that Nissan
5 just sold their battery manufacture to Envision, which may
6 not change the supply relationship you have with them. And
7 certainly the NMC batteries are considered to be very
8 advanced, but battery technology is going to evolve. So
9 how with vehicle testing in all those different
10 environments, as technology's changing, are you planning
11 the direction that you're going to move in?

12 MR. SIMON: Excellent questions. First and
13 foremost, it's important to understand that TransPower
14 doesn't expect to ever get out of the experimentation mode.
15 We do virtually I'd say almost all, maybe 90-95 percent of
16 our business right now is related to small scale trial and
17 error type demonstration projects. And so when we talk
18 about \$15 million a year in revenue, 14 million of that is
19 coming from these types of small scale demonstration
20 projects where the goal really is still product, evolution,
21 testing, gathering data and so on.

22 If we get to the point where we want to be in
23 five years in 2023, and we're producing 1,500 drive systems
24 a year, our revenue will go up by a factor of 20. We'll go
25 from a \$15 million company to a \$300 million a year

1 company. But we still expect to be doing at least \$15
2 million a year worth of these small scale demonstrations
3 and learning type activities, because we don't think the
4 technology's ever going to stop moving. We think the
5 technology's going to continue advancing and improving.
6 And we believe that we're going to have to continue
7 improving the electric truck product to stay competitive.
8 And that as we do that, the number of different
9 applications that find use for it will expand.

10 There are users right now that even if our truck
11 can do 100 to 150 miles still that's not enough for them.
12 There are users that their threshold might be 200 miles a
13 day or 300 miles a day. So we want to be around and still,
14 when the battery technology gets to the point where you can
15 do a 200 or 300-mile truck and that might be in three
16 years, might be in five years, we want to take that
17 battery. And quickly design a pack that works in the types
18 of trucks that we're pursuing and prove that it works. And
19 once it does, then roll that out as a new product in our
20 pipeline.

21 So we see there being a constant need to continue
22 to innovate and test new products, because there always
23 will be new technologies and products coming out.

24 A second major part of that is in addition to
25 maintaining that innovative prototyping or demonstration

1 side of our business, side-by-side with the manufacturing
2 side.

3 The other aspect of our strategy is the modular
4 design that lets us plug-n-play. We've tried to design an
5 architecture where we can plug in a different type of
6 battery and you don't have to change the rest of the
7 system, the rest of the drive system can remain pretty much
8 the same. So that's another important part of the
9 strategy.

10 COMMISSIONER SCOTT: Do we have any other
11 questions from our around the table of our panelists here?
12 Okay great.

13 Thank you so much, Mike. This is great
14 information.

15 MR. SIMON: Thank you.

16 COMMISSIONER SCOTT: Let us now turn to our next
17 presenter, who is Deborah Donahue, the Vice President and
18 Operations Manager of Charge Point. We're just a little
19 bit behind, so how about 1:55 until about 2:20, 2:25 for
20 yours and then we'll leave 10 to 15 minutes for questions.
21 Thank you.

22 MR. OLSON: Well, I don't seem to have your item
23 on here.

24 COMMISSIONER SCOTT: And while they're pulling
25 that up, I will remind any folks from the public if you'd

1 like to make a comment, please go ahead and fill out one of
2 our blue cards. Make sure you give it to Tim or to Tami.
3 They'll give it to me and that's how we know that you'd
4 like to say something when we get to the public comment
5 part.

6 And also the folks who are following on the
7 WebEx, I know that there's a hand raiser feature that will
8 get to Akasha and she can read those questions out.

9 Just a second while we get the presentation and
10 we'll jump in with Deborah.

11 (Off mic colloquy to set up presentation.)

12 COMMISSIONER SCOTT: Maybe while they're loading
13 up that presentation for our folks that are sitting around
14 the table, I don't know whether you have any burning
15 questions for one another while you were watching and
16 listening to the presentations. I have a whole laundry
17 list, but would love to hear from you as you've built your
18 trucks or built the buses or build the drivetrains. If you
19 heard that something that someone around the table said
20 that sparked an idea or a conversation point, we'd love to
21 hear it. Yes, please go ahead.

22 MS. DONAHUE: I have a question while they're
23 pulling that up. I'm wondering for the vehicle guys, do
24 you anticipate having to figure out your own end of life
25 strategies for the batteries or how do you think that will

1 shape up?

2 MR. LEACOCK: We already have a list of entities
3 that want to take the bus batteries anyway in the second
4 life. Each one of our battery packs has about 110
5 kilowatts of energy storage and so when they get swapped
6 out by the transit agency they'll still have 80 percent of
7 that 110. And they were made -- in the conclusion that you
8 saw, they're made to be stacked and they're already
9 environmentally sound, so that with 11 of those battery
10 packs, you've got a megawatt of energy storage.

11 So we have multiple opportunities out there.
12 We've had cell phone tower companies talk about buying them
13 for backup power, instead of having a diesel generator.
14 We've had them for -- our own customers want to take them
15 and put them in place for demand charge mitigation at their
16 bus facilities when they think they're going to be charging
17 at scale. That's almost a substation level of energy
18 needed, so they're hoping that there will be second life
19 batteries that they could put into place. Because, you
20 know, to buy them new it's prohibitively expensive. But in
21 their second life there is a lot of reduced cost and a lot
22 of opportunity there.

23 And when they're finally kaput they're made 100
24 percent environmentally recyclable. So we've got two
25 companies that will actually buy those off the hands of the

1 owner of them in their second life and recycle all the rare
2 materials and the aluminum, 100 percent. So we already
3 have a complete solution all the way to the very end.

4 COMMISSIONER SCOTT: Just see if Mike wants to
5 weigh in on that or not.

6 MR. SIMON: Well, we're not as far along in the
7 planning or end of life as Proterra is, so we haven't
8 worked out all those solutions. But we do, because of our
9 stationary energy storage product line, we do envision
10 either selling the -- if we don't use the batteries
11 ourselves in stationary energy storage systems that we
12 design and manufacturer, we think they'll be sellable for
13 end of life. The same Nissan LEAF batteries we're using
14 are being provided by Nissan for other types of stationary
15 end of life uses. So we're pretty confident we'll have the
16 same opportunities.

17 COMMISSIONER SCOTT: I have some follow-up
18 questions, but I see that the presentation is queued up, so
19 let's now turn to Deborah to provide her presentation from
20 ChargePoint.

21 MS. DONAHUE: So ChargePoint is headquartered in
22 Campbell, California just south of San Jose. We are about
23 ten years old. We have now around 300 employees in
24 California. We do all of our designs, our manufacturing
25 and planning is all done in California. We have over 30

1 patents for our products and growing.

2 We currently counted as close to 30,000 charging
3 ports in California. I know that number is a little
4 different than was reported earlier, but we count a dual as
5 two, because we're servicing two cars at the same time.
6 And I think your official numbers, you count it as one.

7 And then we have a significant installer base in
8 California, where we have California people doing the
9 installations. So beyond our own requirements, we're also
10 creating jobs for installers.

11 So the goal of our project was developing what we
12 call our onramp module. And what this did was allowing
13 competitor's products, other third party EVSE suppliers, to
14 connect to our network. So that they did not necessarily
15 have to create their own network and create their own
16 communications technology, as well as developing our
17 internal manufacturing capabilities. This allowed us to
18 invest in -- for manufacturing we were able to develop all
19 of our own test protocols, develop our own quality systems,
20 so that we were able to make sure that the products that we
21 were putting out were high quality and reliable.

22 So the Onramp Program is more than just a
23 communication with the unit, because it allows it to be a
24 managed station. So we can set the pricing on the
25 stations, so that our hosts don't have to have that

1 capability or worry about it. You can charge drivers. We
2 can do a check at the end of the month for all the money
3 you've collected, but you get to set the pricing on the
4 station. Some people make them free. Some people will
5 charge enough cost to break even. Some people will try to
6 make it a profit center for them.

7 We also give the complete reporting and
8 analytics. You can see what cars are using your stations,
9 how often they're using them, what is your utilization? Do
10 you need more stations because you have people waiting for
11 them? Our software tools can do things like we create wait
12 lists. So if your stations are all being used a person can
13 use their card and get in line and be notified when a
14 station becomes available, so that they can go out and move
15 their car and get their charge.

16 So to date we have ten different stations that we
17 have integrated onto our network. This has allowed,
18 especially early on when we were not in the DC charging
19 space, we were able to get a lot of DC stations on to our
20 network through this Onramp Program. So what we do
21 currently is we supply, we're on our second generation of
22 our onramp hardware. Our first generation was just a
23 communications board. Now we sell an actual module with a
24 display and all the user interactions. So it's very easy
25 for a hardware manufacturer to integrate that into their

1 product and instantly be able to sell a ChargePoint enabled
2 product.

3 This also has allowed us to work with the CEC on
4 their corridor project, where we're putting in 107 DC
5 charging stations throughout the State of California, in
6 order to facilitate that long-range driving for EV
7 customers.

8 Some of our future innovations that we're working
9 on is we're so much more than a hardware company. And as
10 we see where EV charging is going and the demands that it
11 puts on the grid and the needs for our customers, we are
12 looking at how do you service a world where everything goes
13 to sleep? And that's not just the bus operators, the
14 heavy-duty equipment operators, the long-haul trucking
15 operators. But we're seeing that in the next few years as
16 we get to autonomous cars you're going to have so much of
17 the light-duty vehicles are going to go to fleets where you
18 simply have a subscription service, you call your
19 autonomous car, it shows up at your house, it's fully
20 charged. So the infrastructure will need to be there for
21 those cars to be taking themselves to a charging point and
22 recharging, so they can be redeployed.

23 So in order to do this we recently purchased a
24 small company named Consensus (phonetic) whose focus is on
25 energy management. So this allows us to be able to manage

1 those peak charging points, so that we can try to shave off
2 those peaks ourselves as opposed to having the utilities
3 invest in more generation. This also allows us to work
4 with second life batteries and have some onsite energy
5 storage to do that. We can also integrate with building
6 management systems, so that we can manage the HVAC system
7 if you need to have that turned down a few degrees in order
8 to shave those peaks as well as the EV charging stations in
9 order to shave off those peaks.

10 So some of the challenges that we see in that
11 space is like I said the high demand charges are really
12 going to penalize people who are trying to make their
13 fleets electric. It could cause it to the point where it
14 is more expensive to use electricity than it is to use
15 diesel or gas for your fleets. So we see that as a big
16 challenge.

17 Like I said, we are tracking that from an energy
18 management system that can try to mitigate that. But also
19 working with the utilities on what kind of programs they
20 can do to eliminate those demand charges.

21 Some of the other challenges are there's a
22 complex amount of systems involved here. The vehicle's
23 state of charge needs to be read by the charging station,
24 so we know which vehicles need to be charged the most. As
25 most everyone knows, batteries as you get to peak charge,

1 they start charging slower. So you want to have less power
2 going to those stations and more power going to the
3 vehicles that have less charge. So you need these really
4 complex software systems to be able to manage all of that.

5 All right, so our next generation hardware is
6 focusing on the DC space. And our focus in this space was
7 on scalability, reliability and field serviceability. As
8 you get into the fleets and the corridor charging, the
9 highway charging, it is so important that these units have
10 high reliability and high up time. So our products are
11 built very modular, so if a station were to go down it's
12 within minutes it can be repaired by spare parts.

13 Also with being modular, we have the ability to
14 constantly be upgrading stations. So you can start today
15 with a 50 kilowatt station, but when you need to go in a
16 few years to 150, 350 kilowatts, you don't have to throw
17 away that old hardware. You just can expand upon it and
18 get those higher rates of charge.

19 So a manufacturer for this, we have as was
20 mentioned earlier our model of manufacturing in the past
21 was we did use contract manufacturers. We did a little bit
22 of light manufacturing in-house. We had all of our own
23 manufacturing engineering, our own quality engineering and
24 our own development. But we did leverage partners for
25 manufacturing.

1 As we got into the DC space, realized how much
2 more complex that was to build those and a lot more cutting
3 edge technology that was going into those. So we decided
4 to bring our manufacturing back in-house. We leased a
5 27,000 square foot facility in Campbell. And right now,
6 we're doing 100 percent of all the electromechanical
7 assembly for those in-house. We are getting our printed
8 circuit boards are assembled by a local partner in San
9 Jose. And our sheet metal is also being produced in
10 California.

11 But we're quickly hitting the maximum of our
12 capacity, so we're looking at what our next steps are for
13 scaling. With our current growth in our current facility,
14 we have increased over the last 18 months by 200 percent on
15 our non-production manufacturing people. That's the
16 manufacturing engineers, qualities engineers, supply chain
17 folks, materials management people. And our actual
18 production people we have increased by 300 percent, so that
19 is our line operators, our technicians, our quality
20 inspection people.

21 And then we've also had to put a significant
22 investment in manufacturing and test equipment. To test DC
23 charging stations, you basically need the equivalent of a
24 bus to be able to have a load on that station to make sure
25 it would be able to charge those units. So just the amount

1 of power that's going to our facilities has required a lot
2 of investment.

3 So then what are some of our challenges? As I
4 mentioned, we are already planning for our next facility
5 and deciding where that will be. Do we expand on the
6 current facility? Do we open another facility? Do we move
7 more of our production to contract manufacturers? And the
8 things that are going into our equation and analysis of
9 that is number one the high cost of labor in our area does
10 make it difficult to manufacturer in the Bay Area.

11 But then we're weighing that against if we moved
12 somewhere in the Central Valley, do we have a much harder
13 time getting skilled labor?

14 The other challenge that we have is we are
15 getting to the point where not only is it electrical
16 improvements on our buildings and our real estate, but we
17 are getting to the point where our utility companies are
18 having to upgrade transformers. And then we're getting to
19 the point where they're having to upgrade the substations.
20 The substations in our area can't even handle the amounts
21 of power that we use in our facilities. So we're working
22 closely with them in figuring out how do we manage those
23 really high rates of power. And that's with our current
24 generation products as we're looking forward at future
25 products like trucks and we're working with companies on

1 the EVTOL space, the electric vehicle flying cars. How are
2 we going to charge things that need charge on a very quick
3 turnaround?

4 And then finally it was touched on earlier, the
5 duties and tariff's problems. We have that problem not
6 only on products that we do need to import from out of the
7 country, which some of the technologies that we have are
8 advanced enough there's no one in the United States who's
9 making them or there's things that have commoditized to the
10 point where there's not a lot of manufacturing in the U.S.
11 and we have to bring from outside of the country, but also
12 we're seeing this problem on exports. That they're
13 starting to have retaliatory tariffs.

14 Canada recently initially was going to tax our AC
15 charging station stations going into Canada. They decided
16 at the last minute to roll that back and didn't do it. But
17 if some of our concerns that we have is we're going global,
18 can we continue to do all of our manufacturing here in
19 California? Or do we need to worry about -- I actually
20 just hired my first trade compliance person, because we're
21 looking more at having to do things like duty drawbacks and
22 managing our import duties whereas in the past everything
23 was pretty much duty free coming in and going out of the
24 country.

25 So then just some of our general concerns about

1 the market in places where we think the state and trade
2 organizations need to focus. So number one is, it was
3 touched on earlier, high reliability of charging stations.
4 When electric vehicles first started people, especially
5 with light duty your primary point of charging is your
6 home. And you're not always completely dependent on the
7 public infrastructure. But as you go to freeway charging
8 and you go to fleets, it is so critical that you have high
9 up time on this charging.

10 Ease of servicing, if it does go down how can you
11 get it fixed in a manner of hours by having spare parts
12 locally, trained professionals and also product that's
13 designed in a way that it can be service that way? There's
14 quite a few products right now where it takes almost an
15 engineering level person to service them. We focus a lot
16 on our design allows for a technician-level person to be
17 able to go out and service these, do the actual failure
18 analysis back at our facility, but get the unit back up and
19 running very quickly.

20 We have seen issues with electrical grid
21 compatibility, especially with some charging stations
22 designed out of the U.S. that come into the U.S. have not
23 adequately covered the requirements for what the power is
24 like coming off of our grid. And it can cause stations to
25 trip. You know, you have so much safety built into these

1 stations that if it sees weird things on the grid it can't
2 filter out those things. So the stations need to be able
3 to filter that out.

4 And then we talked about energy storage. And as
5 we're looking at second life of batteries and other ways
6 that we can manage the power, so that we don't hit those
7 demand charges.

8 And then scaling the solutions, we have already
9 started looking at what a charging connector will look like
10 for even higher rates of power. Everyone's looking at
11 doing cooled cables to get the next generation. For the
12 next generation after that we have built a prototype of
13 what it would look like for once you get to megawatts of
14 power that you're trying to deploy, as opposed to
15 kilowatts.

16 And then we struggle a bit, and internally we
17 have the scales to be able to do a lot of compatibility
18 testing in-house. Our labs are all built big enough now
19 that we can get a bus into our lab to do compatibility
20 testing with chargers. But in the U.S. there's not a good
21 third party that you can go to for interoperability between
22 cars and chargers. Someone eventually, at some point needs
23 to manage that certification of interoperability so that
24 you know exactly where the problem is. Is it with the
25 vehicle or is it with the charger?

1 And then the next generation communications
2 between the vehicles and the chargers is still in its
3 infancy and it's still being developed how much that can
4 do, the 15118 Standard and will all charging stations have
5 it? Will all cars have it and what are the capabilities
6 that you can get as you start putting that technology in
7 and what would be the standard, so that every car gets the
8 same signals, every charging station interprets it the same
9 way.

10 All right, and then just in general how we
11 foresee us supporting the California policy goals. As I
12 said, we are deploying chargers in order to be able hit the
13 Governor's target for 250,000 EV chargers by 2025 including
14 a large number of DC chargers.

15 We are working with the car companies everywhere
16 we can to get more light-duty vehicles out in the market.

17 While there is three different standards right
18 now on light-duty vehicles, we support all three and will
19 continue to, but would be easier if there was one standard
20 for charging. We also do it on our DC charging stations.
21 We will support any standard, but it would make the market
22 easier and cheaper if there was just one standard.

23 And then we really believe all charging stations
24 should be smart and should be networked. Early on, when we
25 first started the company there were many competitors who

1 were looking at it as just another outlet, which worked
2 when you had 50,000 cars on the road. But the volume of
3 vehicles on the road now, the amount of power that you're
4 using, it's just not scalable to not have every station to
5 be managed. So that not only can the network of the
6 stations be managed, but as the utilities get more and more
7 into managing the grid through stations, they'll need that
8 capability to be able to communicate with the stations.

9 I'd just like to say thank you to the CEC for
10 their support over the history of our company, not just in
11 funding, but also as a partner with the state and
12 understand the state's objective.

13 COMMISSIONER SCOTT: Great. Thank you, another
14 interesting and informative presentation. We got so much
15 great data today. Thank you for making that.

16 And actually I might start with a question, so
17 sorry to go a little bit out of order here. But a question
18 I have when you raised kind some of these general high
19 power charging concerns, are you finding that there is the
20 workforce available to be able to work on some of the
21 things that you'll need as you go that direction? You
22 mentioned like the cooling cables and other things like
23 that.

24 And then from the manufacturing side are there
25 key components of that, that are not in California, but it

1 would be helpful if they were. Or if there was a
2 manufacturing component to that that you'd love to see in
3 California, what would it be?

4 MS. DONAHUE: Yeah, it would be nice. You know
5 there are some technologies that just don't exist in
6 California any more on the scale we need. We do all of our
7 aluminum manufacturing is done in the U.S. But there's no
8 one in California who does it at the size that we need, so
9 we do have U.S. partners for that.

10 We talked earlier about just the labor force and
11 echoing we could always use some more software engineers.
12 We are always desperate for more. We're desperate for more
13 power integration engineers. It is a specialty that there
14 are not so many people who have a lot of experience there.

15 On the manufacturing side in the Bay Area it's
16 always been difficult to find good people. But it's been a
17 little easier on the manufacturing side I think, because
18 we're an interesting technology. And it's so much of the
19 Bay Area is board in a box manufacturing, so I get a lot of
20 people who are just fascinated about more of a challenge.
21 So we are able to find the people, but there are some niche
22 places where we have a hard time like people who are
23 experienced with charging cables and cable manufacturing.
24 And the Proterra folks talked about bringing it in-house.

25 I think a lot of the traditional companies,

1 building those kinds of things were not used to building
2 things to support this level of power. And on our side, if
3 the cable is plugged in and out repeatedly -- you know, a
4 lot of cables are plugin once, get it plugged in really
5 good and you're set, but something that a customer
6 interacts with on a day-to-day basis, and plugged in and
7 out, gets dropped on the ground we've had a hard time
8 finding people who can really deal with that level of
9 complexity.

10 COMMISSIONER SCOTT: Great.

11 Margaret?

12 MS. MANN: Okay. Thank you.

13 You talked a little bit about commoditized
14 components and one of my concerns with this type of
15 hardware is that it is, it could be summed up in the future
16 as a bunch of commoditized components. And I'm wondering
17 what your plan is to avoid that. I love that you're
18 working so hard on the software side as well. Going
19 forward, do you think that it'll be more assembly of
20 commoditized components, supported with hardware that you
21 could maybe sell to other companies?

22 MS. DONAHUE: Our design is novel enough
23 everything in it was completely designed ourselves, because
24 of as I said the ability to treat it as many different sub-
25 assemblies that can be swapped in and out.

1 We've put a lot of work into things like blind
2 connects, so that nobody has to be screwing things in and
3 out; wing nut kind of assembly, as opposed to torques
4 driver assembly, so it's really easy to assemble onsite.
5 So we have a few years, we think of anyone catching up to
6 where we are on that design. And it just doesn't lend
7 itself, because it's not -- the AC charging stations are
8 small enough and cheap enough that if one fails you can
9 just swap it out.

10 As you get into DC charging it's a much more
11 complex beast. And you don't want to just swap those
12 things in-and-out. So at some level there are pieces of it
13 that are commodities like displays and things like that.
14 But we anticipate that in the next few years, there's no
15 one else who has as comprehensive of a solution.

16 And the other thing our stations, because we do
17 the software ourselves, we do the design ourselves, there's
18 a lot of focus on the unit being able to self-diagnose
19 itself, send us messages when it's not working or is
20 working sub-optimally, so that we can get out and service
21 them. So we don't see it as a hardware component, we see
22 it as a system and a service that comes with the system.

23 COMMISSIONER SCOTT: Other questions, Margaret?

24 MS. MANN: No.

25 COMMISSIONER SCOTT: Okay. All right, Debbie?

1 MS. SANDOR: I have a question that is maybe a
2 little bit out of the scope of this, but I'm just curious.
3 So you're talking about a super network kind of system.
4 Are you doing anything to like protect against a cyber
5 security kind of event? So I mean because really
6 everything, if that's your whole goal to make it all be
7 super connected then what we thinking about that at this
8 point in time in order to prepare for anything like that?

9 MS. DONAHUE: Yeah. So we actually have a
10 security firm that works for us and audits that as well as
11 our stations do take credit cards. So we are PCI
12 compliant, to be able to take credit cards. We actually --
13 we would prefer not to take credit cards. I know there's a
14 push for people being able to anonymously use a station by
15 using their credit card. But that's some of the
16 complexities. If it takes a credit card is there a way
17 that it can be hacked and someone could get that credit
18 card information? So we prefer that someone uses an
19 account.

20 We've done a lot of focus on making that as easy
21 as possible. You can use your smart phone and activate a
22 station with your smart phone. It's very easy to sign up
23 for an account. We want to know who you are because we
24 look at it as service. Like I talked about, if you get
25 into a wait list we want to be able to send you a text

1 message telling you your car is available. If you plugged
2 into a station that may be set to as soon as you're done
3 charging, they'll start charging you a higher rate, because
4 they want you to move your car we want to be able to send
5 you a message to let you know that's happening.

6 So we would prefer that people sign up for an
7 account, because it's more secure and we then can
8 communicate with them.

9 COMMISSIONER SCOTT: Frank?

10 MR. RAMIREZ: Just briefly, I'm just curious what
11 is your process in working with locals either community
12 groups, community colleges in the workforce area?

13 MS. DONAHUE: I don't think we've done enough,
14 actually frankly. We have really just started scaling our
15 production people this year. Our HR team, I've been really
16 pushing them to engage more with the community colleges at
17 a minimum, to be doing more outreach. We were just talking
18 today about what more we can do. And it's just been an
19 area that we have not explored as much as we should and we
20 will do more over the next year.

21 COMMISSIONER SCOTT: Mike, it looked like you
22 might have had a question?

23 MR. SIMON: I was just going to point out that my
24 -- just as you got up to the stage, I got a text saying
25 that my car's finished charging at that the charge point.

1 Maybe it was an omen. (Laughter.)

2 COMMISSIONER SCOTT: Okay. Great, thank you for
3 your presentation, lots of really good information.

4 Okay and so now we have last, but not least, John
5 Frala Professor, Alternative Fuels and Electric Fuel Cell
6 Vehicles at Rio Hondo College.

7 And while they're queuing up his presentation
8 again if you are a member of the public and would like to
9 make a comment, please fill out one of these blue cards.
10 If you're on the WebEx just do the hand raiser feature and
11 that's how we'll know when we get to the public comments
12 that you'd like to say something.

13 Take it away, John.

14 MR. FRALA: You'll be surprised how many people
15 confuse Hondo and Honda. (Laughter.) Because we have a
16 Honda program, so people just assume that. Well, okay.
17 Thank you very much for inviting me up here today. I
18 learned a ton here today, that I'm going to take back and
19 use myself.

20 I'll give you a little bit to go on, so I love
21 this picture here. I call this spaghetti. This is an
22 Orange County Rapid Transit bus. And our technicians have
23 to go in and figure out where those wires go, because one
24 of those relays isn't working. On some of the buses, the
25 older buses, there could be 35-40 different relays

1 controlling different things in a bus unlike a passenger
2 car where you might only have 2 or 3 of them. So our
3 program has been around a long time trying to figure this
4 stuff out. We have about 65,000 square feet, as far as it
5 goes. I have seven laboratories and nine classrooms. Our
6 average daily attendance is somewhere between 600 daytime
7 and about 500 night time. We run six days a week on
8 campus.

9 We have nine degree programs and 12 Certificate
10 of Achievements total, so everything from American Honda
11 Acura up to heavy duty equipment with John Deer and
12 Caterpillar.

13 My area of expertise on campus is alternative
14 fuels, which started 25 years ago. We were doing
15 compressed gasses and auto gas, which was very new to
16 California. So in total right now, we have about 1,000
17 graduates up to that program that are in the 25 years. Of
18 the 1,000 program graduates, we are in contact with about
19 300 students right now. So I could tell you where a lot of
20 my students are, what city, what county, what state they
21 are in. And even what country they are, in some instances.
22 We have a lot of them who have moved over to the UK now.

23 The newest program, which came out of a grant
24 that we had here, the CEC is helping us with the equipment
25 to put together an Electric Car and Hydrogen Fuel Cell

1 Program. And when I started approaching people with idea
2 they were like it's not going to happen. It's fad. It's
3 like everything else in automotive. You're going to see
4 these in a couple of years and they're going to disappear.
5 Why are we investing in this? And pig-headed as I am I
6 said, "Now, I'm going to prove you guys wrong."

7 And so with the money that I got from my grant
8 through CEC, I've had two individual ones, we started off
9 the electric vehicle programs, bought the test equipment
10 and put these things in place and went out, starting
11 hitting up the manufacturers. And lo and behold we found
12 out that a lot of the transit agencies, Proterra being one
13 of them, were then able to provide our graduates to these
14 programs already. So as they're building their programs we
15 are able to supply this workforce already that's trained
16 with the fundamental skills, the safety, the high voltage
17 safety skills, and certification that did not exist.

18 So when I went to the State Chancellor's Office
19 and I said I want to do this degree they said, "Great.
20 Give us some job data." Well there was no job data,
21 because it didn't exist in EDD's culture. So I had to
22 physically go back and do my research with the
23 manufacturers and the bus transits. SCRTTC which has been
24 a big supporter of us, because there are about 39 transit
25 agencies now involved, they gave me a lot of data. I went

1 back to EDD and they said, "Can you write it? You write
2 the job requirements, you write the job scope." And we put
3 it together and we had it done within four months.

4 It was posed on the web within six months and I
5 had my degree done within six months after that. So it's
6 the fastest one that we've ever developed on campus. And
7 we were getting students hired in the first year of a two-
8 year program. So we had to go back to the employers and
9 say, "Here's a contract saying you're not going to job out
10 my student. He needs to finish his degree."

11 So I've had many, many challenges here. Just
12 because of the scope of what these people are needing now.
13 As you guys all know, as some of us -- I've been driving an
14 electric car myself for over 15 years. I don't go to gas
15 stations. Well, I do for my wife. She's still afraid of
16 batteries. But I don't go to gas stations on my own
17 personal vehicles. I own seven vehicles on campus. So I
18 have a very big pool that I drive every day including a
19 Miura all the way down to a Coda. I still have a Coda that
20 works.

21 So as far as my students go they have a wide
22 variety of what they're learning. And we're being able to
23 place these students in current technology with current
24 skills. So when the Chancellor's Office came back and
25 said, "We would like to offer you guys a chance to have a

1 bachelor's program at a community college," we were chosen
2 one of the 12 in California. So I have a bachelor's degree
3 in automotive technology. I also have a bachelor's degree
4 in business and marketing for automotive.

5 My students are coming out of the electric
6 program going right into the bachelors program for
7 automotive technology. And I have them placed right now at
8 Tesla, at Proterra, at American Honda. Porsche is driving
9 them faster than I can get them through the program. So
10 we've had multitudes of success, based upon what this small
11 little grant was that we got and how we were able to take
12 that and stack it on top of other grants.

13 After we got the first grant and we got the
14 equipment in place to start doing battery testing and
15 certifications, the industry came back to us and said, "Can
16 you expand on that and give us some stuff for doing the
17 motors and doing some other things like this," which was
18 non-existent at the time. And so we've gone back and we've
19 been able to put this together and do hands-on training,
20 physical training with the vehicles, taking them out of the
21 cars and doing the testing, battery balancing, things like
22 this that were again were nonexistent for many, many years.

23 It's been the last five years we've been able to
24 perfect this and get this into certification through the
25 ETA, or SAE is working with us right now on another grant.

1 The auto gas came back very big with Blue Bird.
2 So we went back to Blue Bird and gave them some training on
3 what they could do. And in the picture on the lower side
4 this is Train the Trainers for a trainer back east in
5 Indiana at their plant, where we actually invited college
6 instructors from all over the United States. And lo and
7 behold only two of us from California showed up. Everybody
8 else in California wanted to do electric. But back east
9 and mid-states natural gas and auto gas is still a very big
10 part of it.

11 So I've been able to leverage this, not only to
12 students, we've been able to get the instructors who don't
13 have access to this training to be able to do this and so
14 it's now expanded nationwide, starting off of one of the
15 grants that we got here through the CEC. So not only is
16 California benefiting from this, we've been able to expand
17 this nationwide.

18 How technical does this get? This gentleman
19 right here is working with a pipe that holds 10,000 PSI of
20 compressed hydrogen. I've been able to go back to the
21 manufacturers in the industry that provide these fittings
22 to the bus manufacturers, the truck manufacturers, get with
23 them, put together a certification that my students are
24 coming out of the program with an industry recognized
25 certification on high pressure piping. Again, it did not

1 exist before 2010. So now when they go to the job
2 interviews and stuff they can come in and say "look, I've
3 got a 30 hour OSHA card. I've also got certification on
4 cryogenic fuels, high pressure fuels and electronics."

5 So the newest one we're working on right now is
6 for high voltage safety, which does not exist in the U.S.
7 So that was where the second grant from the CEC came in.
8 We've pretty much got it together. We're going through the
9 finalized staging of it right now. We will have an
10 industry recognized high voltage safety course that can be
11 duplicated anywhere at any of the colleges and/or some of
12 the manufacturers, depending on what needs they have.

13 So I heard this from a couple of you today that
14 the high voltage safety stuff still needs to be finalized
15 or maybe constructed better. We've already got a template
16 in place. We should be able to modify that to what you
17 guys are doing. And this will be an ETA or SAE recognized
18 certification. So again, ETA is an international
19 certification that goes into Europe. We've expanded into
20 Germany and the UK already on some of the certification
21 stuff.

22 So this is kind of a list of some of the grants.
23 I've got the arrows here pointing on it. This is a 1.7
24 kilowatt fuel cell that is powering that test board that
25 that student's working on. We make our own compressed

1 hydrogen in the classroom, 125 PSI out of electrolyzed
2 water and make it into a hydrogen gas. So students learn
3 how to create the gas, they put the gas in the fuel cell
4 that they built and now they're testing the output of that
5 fuel cell on a test board to make sure the components are
6 working correctly. So they see more than just components.
7 They actually see the whole process, the safety behind it,
8 and why they're doing it.

9 So this is kind of a small grant. Now one of the
10 things I bring up to a lot of people. They look at this
11 and go this is just fantastic that you've been able to do
12 this. But my program is not funded by the Chancellor's
13 Office in California. I have a non-funded two-year degree
14 program. So my alternative fuels, both degrees, gaseous
15 fuels and electric vehicle and hydrogen, are only funded by
16 the grants that I write. So I've been pretty lucky that
17 I've been able to do a little over \$2 million in grants
18 since 2010.

19 And that's real important to my students because
20 these guys are leaving not flipping hamburgers. These guys
21 are making life living skills, but they're also making a
22 wage that they can go back and support their family with,
23 with benefits and things like that depending on which
24 companies they go to work for. And I'm very proud of that,
25 that my students are getting that chance to do that.

1 Our campus is located in very -- a couple of the
2 cities are very low-income and very low skills. And I'm
3 able to take these students that are first year, sometimes
4 first students ever in a family to go to college and give
5 them that skill that they can go back and provide not only
6 for their family, their parents -- sometimes in instances
7 they're buying their parents a house, which they never had
8 in the United States -- but are able to go back and supply
9 for the family and bring up their kids.

10 So some of my students that I've been able to
11 stay in touch with, one of them just got hired on at
12 American Honda. Now he is the Senior Project Engineer for
13 the new Clarity. So that student graduated in 2004, as a
14 Honda pack student. And we've been following it through.
15 He's got his master's degree now in mechanical engineering.
16 He is now working for Honda, making well of \$200,000 a
17 year. And just I can't even tell you how many success
18 stories I have like that.

19 And this really drives a point. You guys come up
20 with this great technology, these great ideas, but if we
21 don't work with our community colleges or work with the
22 people here who's going to fix these things? Who is going
23 to see these things in the yards of in the fleets or in the
24 customer's eye who is going to repair these things. And
25 this is where I really -- I cherish the fact that I am

1 lucky enough to be able to come to these meetings or go to
2 an industry like Proterra.

3 We were there the first day they opened the door
4 in that plant. There wasn't even a paint stripe on the
5 floor and we already had students line up to go to work for
6 this gentleman. They are still there. A lot of them got
7 promoted. And we've got another batch of students going
8 back in there.

9 So right now we've been able to do this. Now,
10 the question is, is my leaps and challenges? Well, yeah.
11 We've had a lot of challenges. We are teaching technology
12 that at one time didn't exist. It was a pipe dream. We've
13 been able to prove through a lot of it, through National
14 Science Foundation, which mainly gives us research grants.
15 We have a technician-based grant, the first one in the
16 United States for electric cars and fuel cells. So we were
17 the first community college to graduate 32 students with
18 that new degree based upon the grant that came out of the
19 CEC and NSF. And I can't say thank you enough to you for
20 the support and what you guys have done.

21 This last slide here, where are they going to
22 work right now? This is our first graduation group. We
23 are the first Tesla training facility in California. They
24 went through 19 different community colleges and it came
25 down and they chose my college as the college to start

1 their start program here in the West Coast. There are two
2 colleges right now. One is in South Carolina. They were
3 number one. And I was number two, by two weeks. I've had
4 over 32 graduates right now. And every one of them is
5 working at Tesla.

6 The program we put together there, much different
7 than most automotive programs. Tesla comes in. We
8 interview them. They will only take a student if he's got
9 an associate's degree or came through my program. He is
10 then hired as a Tesla employee and paid \$18 to \$21 dollars
11 an hour while they go through the 12-week program. From
12 there they get to choose any training facility in the
13 United States that Tesla has to go to work for.

14 As you can see in the picture I have more females
15 in this semester than I have ever had. The females are
16 eating this up, because it's not a filthy dirty product any
17 more. It's mainly computer based. You guys are all
18 talking about the need for laptops and engineering and
19 things like that. This is where they're headed, because 99
20 percent of the work on a Tesla is done on a computer before
21 the customer even hits the store. And so this is the
22 technology we're doing right now.

23 Some of the people that we're working with I put
24 on here Stratus Fuels, who makes the fuel stations for the
25 hydrogen fuel stations, they've got two of our students in

1 there. They are station managers for their products, for
2 their new projects. They're also now wanting me to bring
3 back a training scenario, how to maintain one of these fuel
4 stations, because right now it doesn't exist. What do I do
5 if there's an emergency? And this brought into the Fire
6 Department, CAL FIRE and CHP, we do first responder
7 training also for any of the alternative fuels. So I've
8 trained a little bit over 900 CHP in the last ten years and
9 CAL FIRE similar, around 945 nationwide or statewide, I'm
10 sorry.

11 So the program is not just about working on cars.
12 We're also doing first responders, safety, high voltage
13 safety, product safety, high pressure cryogenic safety.

14 Some of the awards that we've had are in the
15 state here, California Community Colleges in 2004 gave us
16 Outstanding Program, which was the first vocational program
17 to get that award. California Community Colleges has given
18 me Instructor of the Year in 2010. I've had two national
19 awards from the American Association of Community Colleges:
20 Innovative Programs and Outstanding Instructor Programs
21 also. And then the California Automotive Teachers has also
22 awarded us with an Outstanding Program award. So we've
23 accumulated the awards from the things that we've been able
24 to capitalize on.

25 And getting the students really prepared for the

1 next type of technology that's out there. I keep telling
2 them, "You're not going to be changing oil. You're not
3 going to be changing spark plugs. You're not going to
4 change brakes." My Prius has 186,000 miles on the original
5 brakes. I have not driven that car that hard because the
6 electronics do all the braking. So these guys need to
7 understand that they're not going work like a regular
8 technician. They've got to work with their mind. They've
9 got to work smart, not work hard.

10 COMMISSIONER SCOTT: Thank you very much. The
11 was a great presentation and a lot more terrific
12 information for us to bear in mind.

13 Let's start with our reviewers, although I have a
14 bunch of questions for you as well. Frank, you want to
15 start this time?

16 MR. RAMIREZ: Thank you. That was a great
17 presentation. May I have your card?

18 MR. FRALA: Sure. (Laughter.)

19 MR. RAMIREZ: That was my first question. On
20 scalability, is your program scalable to other areas of the
21 state?

22 MR. FRALA: I get probably requests every month
23 right now, since we've had the NSF grant. Because part of
24 my NSF contract is that I have to be able to expand this to
25 other schools. And yes, it is.

1 The newest school that we just expanded to is
2 Macomb Community College in Warren, Michigan. Their first
3 semester of Electric Cars is my program reduplicated in
4 Michigan. So yes, I have no problem in sharing this with
5 anyone. I've already gone through the struggles. There's
6 no need for them to do that. And we can walk them through
7 it all the way down to how do you place a student in this
8 technology.

9 MR. RAMIREZ: The second question is how much do
10 you deal in the heavy-duty space?

11 MR. FRALA: A lot. John Deere is now doing fuel
12 cell. They are also doing compressed gases and
13 electronics. Hyster is now doing electric fuel cells for
14 Ikea in California, the same plant they were talking
15 outside of Bakersfield. All their forklifts are hydrogen
16 fuel cells now, so we've got students even going to that
17 marketplace.

18 MR. RAMIREZ: And finally, I know there are
19 programs that I've known at the end of the program there
20 are no guaranteed jobs for these folks. And that's one of
21 the most frustrating things for young people.

22 MR. FRALA: Oh, yeah.

23 MR. RAMIREZ: It sounds like you don't have that
24 problem.

25 MR. FRALA: I do not have that problem right now.

1 As long as you folks keep inventing this stuff and bringing
2 us to a zero emissions I'm just a happy camper right now,
3 because I live this stuff every day. I drive the
4 technology and I thoroughly believe in this technology.

5 I remember growing up in California, where we
6 could not see across the street. The smog was so bad we
7 could not go onto the playgrounds and play and I don't want
8 my grandson to grow up in that kind of world. So I instill
9 in my students green technology, protect your environment,
10 nourish that environment, but also take care of that in
11 your daily commute.

12 MR. RAMIREZ: Thank you.

13 COMMISSIONER SCOTT: Thanks, Debbie?

14 MS. SANDOR: Thank you. It sounds like a great
15 program. I guess my question is I'm wondering where do you
16 get the instructors from. And since this is such a high
17 demand industry, don't they want to go work for a company
18 instead of teach, so I was wondering if that's an issue?

19 MR. FRALA: Finding a teacher that lives up to my
20 passion of what I do is really tough. I'm growing my own
21 basically is what I'm doing right now. They have to have
22 at least five to six years in the industry to have that
23 experience. And then I can bring them in part time. I
24 currently only have two part-time instructors. I'm looking
25 to find a full-time instructor right now.

1 COMMISSIONER SCOTT: Margaret.

2 MS. MANN: Yeah, this is really fascinating. I
3 wish something had been available like this when I was in
4 college, maybe it's not too late for me.

5 MR. FRALA: It is not.

6 MS. MANN: It might be. You had mentioned
7 they're not going to be changing spark plugs, but they are
8 doing a lot with their hands, you know, hands-on training
9 for manufacturing assembly. What about computer
10 programming? At what level are they introduced into
11 managing computer systems, programming databases, the kinds
12 of software that the industry is seeing?

13 MR. FRALA: Day one.

14 MS. MANN: Can you give examples of the kinds of
15 levels that they work on?

16 MR. FRALA: We do our own program. I have a
17 simulator in the class. And basically I can download all
18 the Mirai. We take the Mirai out and drive it, put it on a
19 recorder and come back and download it to the simulator.
20 From that simulator, they can now go into the software and
21 see if the car is running efficiently. Is the battery
22 getting fully charged? Can they make modifications on it?
23 So they actually do onboard diagnostics and then come back
24 and do changes.

25 On the Tesla side, they're taking a situation,

1 explaining it to a software engineer who makes a patch.
2 They then have to take that patch and download it to that
3 car successfully. And then they have to go back and double
4 check it to make sure it's right. And if they didn't get
5 it right, they've got to go back in, clear it out and do it
6 again. So they're doing all kinds of code writing.
7 They're doing software downloading. They're doing
8 programming on the vehicles themselves.

9 And then it's different than an automotive
10 program, because my student's got chemistry for batteries.
11 You have physics for the cars, the brakes, the engines that
12 drive those vehicles. They also look at aerodynamics of
13 the vehicle. If this molding is not sitting correctly
14 what's that going to affect? Because that customer -- I'm
15 no different than any other electric car owner I know when
16 two-tenths of a kilowatt is different in my car. And it
17 could be something as simple as at tire under-pressurized.
18 So they're learning more than just automotive, they are
19 learning the physics, the chemistry. They have to have
20 algebra. They have to have physics and they have to have
21 some of the higher end math to work on these vehicles.

22 COMMISSIONER SCOTT: So you mentioned that you
23 can put these together in a way that is exportable to any
24 other community college around California or around the
25 country, which is fantastic. And that you've got pretty

1 much a strong demand for that everywhere you go, which is
2 fantastic to hear. You mentioned that it's a little tricky
3 to get instructors. How is it to get students?

4 MR. FRALA: I have 24 seats open and I have 48
5 students right now. I've had -- it's a good thing to have.
6 I've had to double up my work load for the next semester.
7 I never run that many students. And my Dean is like,
8 "Okay. They're here. They're paying their fees. Let's
9 get going." So this semester, probably more than any
10 other, I've got a double work load here, so I've had to go
11 out and get two other teachers to do this.

12 The next semester I'm looking at 96 students that
13 are already holding seats. So the demand is here. They're
14 seeing that the jobs are here and they see that a lot of
15 these guys are really involved in the technology. And this
16 is great. And I can't tell you when, but they're all
17 asking me when do I get to work on autonomous vehicles?
18 (Laughter.)

19 COMMISSIONER SCOTT: That's great. I think
20 anything that we all can do working together to kind of
21 help tell the story that there are jobs here. And I think
22 I heard everybody in the industry say how much they need
23 more people to come in. They need them faster. They're
24 kind of stealing them from each other. And so making sure
25 that students know that not only are there great jobs to be

1 had, but there's great programs to train them to get these
2 jobs.

3 MR. FRALA: That's correct.

4 COMMISSIONER SCOTT: I think everything we can
5 all do together to tell that story will be really
6 wonderful.

7 MR. FRALA: Well, what you've done for my college
8 and my program I can't thank you enough.

9 COMMISSIONER SCOTT: You're welcome.

10 MR. FRALA: Because this really jump started the
11 whole process, just the very first grant that we got from
12 you. So a lot of it is credit on you guys too.

13 COMMISSIONER SCOTT: Well, thank you. I'll pass
14 that complement along to my great team at the Energy
15 Commission for putting together such a great program.

16 I have one other question for you. And you
17 mentioned it at the beginning and if it's putting you on
18 the spot, just say so. But you mentioned that you had
19 heard some great things from folks around the table today
20 that you wanted to take back. Is there like a new program
21 that you're planning to set up or a new skill set where
22 like "Oh yeah, I've got to add that in."

23 MR. FRALA: I'm always very curious and
24 fascinated about the battery technology. And to hearing
25 that they're taking the Nissan batteries and what they're

1 doing to those.

2 We have a golf cart. And we've converted it over
3 to a 3 kilowatt fuel cell. And I use Ford's lithium ion
4 battery packs in it. And it's about 18 volts. And that's
5 one of the projects the students have to do is take all of
6 the 600 pounds of lead acid out of it and put this fuel
7 cell in there and run it on hydrogen that they make. So
8 I'm thinking of expanding this now to Nissan batteries and
9 Ford batteries and possibly some LG stuff.

10 Golf carts are cheap to buy. They're \$200
11 apiece. And you can really get the student to understand
12 all the technology through from doing that. So yeah,
13 you're right. There's a new project.

14 COMMISSIONER SCOTT: Excellent.

15 Well, are there questions from around the table
16 for the professor?

17 MR. LEACOCK: I have a question.

18 COMMISSIONER SCOTT: Please.

19 MR. LEACOCK: Based on I guess it was Frank's
20 question when he asked me how many of our employees we're
21 getting from disadvantaged communities and I just
22 intuitively say, "Oh, a lot," because they are, but -- so
23 I'll be curious, are you tracking your students, where
24 they're from? Because I guess one of the challenges that
25 we had in many kind of at the state level programs was the

1 paperwork level.

2 MR. FRALA: Yeah.

3 MR. LEACOCK: And so we actually didn't -- we
4 weren't able to follow through on one particular program at
5 the state level, just because the paperwork was daunting
6 for a as yet to be profitable commercialized company.
7 We're no longer a start-up, but still we just didn't have
8 that level of kind of admin support. And you know like I
9 said, we were racing to fill jobs. And anyway to make a
10 long story short, we would love that. Is that something
11 that you guys do or that you have built into your program,
12 like kind of a plug-n-play reporting as well? Because I
13 envision that that's going to be a questions that I
14 frequently get, I've already gotten it a number of times.
15 And I'd love to be able to have something more than, "Oh
16 yeah I'm sure it must be, because (indiscernible)."

17 MR. FRALA: No, you have to have data for that.
18 And the answer is yes, I track my students through
19 LinkedIn. I have my own group on LinkedIn that when my
20 students come into the program they have to create a
21 professional profile and they have to keep it updated every
22 semester. So when you as an employer want to look at that
23 profile you can see the skills, what classes they've
24 completed and how far they're through the program. And
25 that started about two years ago.

1 Now the Chancellor's Office has started a new
2 program that is going to be more proactive of where our
3 students are coming from. Right now, it's two years behind
4 in its data. They're trying to get it up within six months
5 now, so that really helps a lot too.

6 MR. LEACOCK: And when you say where they're
7 coming from, I'm actually talking about where they're
8 actually from in terms of as a resident of where they
9 actually live versus maybe where or what high school or
10 whatever. So you're talking about that level of kind of
11 demographic data. Because I don't need it by -- obviously
12 I wouldn't even want it by person. I would just want it by
13 amount of people from particular areas.

14 MR. FRALA: Yeah. We can do that now. It didn't
15 exist five years ago, but it does now.

16 MR. LEACOCK: Okay. Great, great. And so I
17 guess the last question I would ask is I know that Southern
18 California community college system has the ability to tie
19 in and potentially transport curriculum. Do you have any
20 interaction with Northern California and Central Valley
21 Community College to do that kind of curriculum transfer as
22 well?

23 MR. FRALA: Yeah, we're working with American
24 River College right now and Sac State is working on it and
25 then I've got some stuff that we're working on with Skyline

1 right outside San Francisco Bay.

2 COMMISSIONER SCOTT: Are there any questions from
3 around the table? Okay great.

4 Thank you so much for your excellent
5 presentation, John.

6 MR. FRALA: Thank you.

7 COMMISSIONER SCOTT: Let me invite you all to the
8 table and if there were any -- a lot of really good
9 information. So I just want to do a quick ask around our
10 table here of our presenters and reviewers, if there's any
11 question that you really want to ask of each other we've
12 got a couple of minutes so this would be a great time to do
13 that.

14 COMMISSIONER SCOTT: Yeah. Frank, please go
15 ahead.

16 MR. RAMIREZ: It's probably aimed more at the
17 Energy Commission, but it's kind of my first round at doing
18 something like this. I'm curious, how you stack your
19 solicitations, so they support each other? In other words
20 programs doing battery versus like Proterra and how do you
21 package them, so that you get one complete package of a
22 product or products that support each other and complement
23 each other? I don't know if that occurs. I'm sure it
24 does, but I don't know enough about it.

25 COMMISSIONER SCOTT: It does. I need my Program

1 Manager from that program. Right, I don't know Tami or
2 Tim, if you want to take an answer to that question? I
3 mean I do think we try to be very strategic about how we
4 put together the workforce training that we do here. And
5 we also as you know use workshops and convenings like today
6 to really kind of hear what information or are there
7 components that were missing that we need to be sure to
8 weave in? That type of thing, so that we're also iterating
9 and learning all the time, but maybe I'll turn that to Tami
10 as well.

11 MS. HAAS: That's exactly what I was going to say
12 is that gatherings like this really inform the program and
13 then we get together and discuss the best use of the money
14 that's available. And we look at where it has been used
15 the most efficiently and has made the biggest impact. So
16 we just try to make the decisions based on those.

17 COMMISSIONER SCOTT: Other questions for each
18 other? Peter, please go ahead.

19 MR. WARD: I have a question for Kent. Kent, I
20 was fortunate enough when I was at the Energy Commission to
21 take a ride in one of the first Proterra buses. And it was
22 a fuel cell, basically a generator on the bus that
23 delivered the electricity to the battery. And I didn't see
24 any hydrogen in your platforms these days. I think that's
25 different.

1 But also I'd like to hear from you, maybe Mike
2 and others that are looking at hydrogen as a heavy-duty
3 application. It just seems to me it always seemed to me
4 that it made better sense as a heavy-duty application for
5 the central fueling capabilities and that sort of thing
6 rather than light duty. Can you opine?

7 MR. LEACOCK: I think what it boiled down to is
8 that yeah that was one of the first early buses that we
9 built. But our leadership team decided that based on the
10 cost of the hydrogen fueling infrastructure build-out that
11 for transit agencies it didn't make sense.

12 And also because of the duty cycle of transit
13 buses we felt we'd be able to solve that with battery
14 electric. I think hydrogen fuel cells for long-distance
15 trucking are probably going to be the definitive solution.
16 But in our case, we completely dropped our Fuel Cell
17 Program for the cost, because the electrical infrastructure
18 was already there. The utilities were motivated and we
19 were hoping and it's coming true that utilities and utility
20 commissions across the U.S. would start to see the value of
21 allowing the utilities to build out infrastructure and rate
22 base it, because it would help put downward pressure on
23 rates. And a variety of other ways that would limit the
24 cost to transit agencies and school systems that operate at
25 a loss anyway.

1 And that's not possible in the hydrogen kind of
2 fuel world. And you know we still have yet to see a great
3 solution for hydrogen fuel cells from our perspective,
4 because most place still bring in the tanks pulled behind a
5 diesel tractor trailer. And utility network was there. In
6 some instances maybe it even requires a transformer, but
7 once again it's still an upgrade that's still going to be
8 all electric. And with the Renewable Portfolio Standard
9 our fuel is becoming cleaner and cleaner and cleaner by the
10 minute. So that was really it. It was as much as a
11 business decision as an operational decision on every
12 front.

13 MR. SIMON: Well, I'll be honest and say that the
14 reason why we're involved in fuel cell technology today is
15 because there's strong public interest and money available
16 from public sources to experiment with the technology.

17 And we happen to have resident experts because I
18 and a number of employees used to work in a transit bus
19 world with ISE years ago and we developed a bunch of fuel
20 cell technologies back then when the transit industry was
21 more interested in it. So we're doing it out of
22 intellectual curiosity and because there's funding to cover
23 our costs it's subsidized research from our standpoint.
24 And it covers our bases and if the technology becomes
25 commercially viable we have the potential to be a leader in

1 that area.

2 But having said that, I'm personally -- I don't
3 want to say I'm skeptical about the technology, but I think
4 that there are a number of formidable hurdles that have to
5 be overcome for fuel cell technology ever to be
6 commercially attractive for heavy-duty users, for any user
7 really. But for heavy duty, heavy duty is logical because
8 locally driven trucks do come back to the same location, so
9 if you have hydrogen infrastructure you don't have to have
10 it nationwide.

11 But hydrogen is still very expensive however you
12 -- right now, just if you look at the cost of electricity
13 to electrolyze hydrogen it costs about even in a best case
14 scenario if you have living there like the great northwest
15 or a Canada where electricity is 2 cents a kilowatt hour,
16 it starts to become competitive as a fuel. But if you're
17 paying normal California electricity rates, so 12 cents to
18 40 cents a kilowatt hour, it's never going to be cost
19 effective to produce hydrogen at those rates.

20 So it does depend on some breakthrough like using
21 either renewable energy. I think Nikola Motors has an
22 ambitious concept of having giant solar farms around the
23 country that get basically free electricity or amortized at
24 low cost.

25 And it's going to take something like that plus

1 reducing the cost of the fuel cells themselves plus
2 reducing the cost of hydrogen tanks plus getting higher
3 density hydrogen on a vehicle, because right now the
4 hydrogen tanks are very large and heavy. So going to a
5 higher PSI and putting more hydrogen within the space
6 available is also something that's going to be necessary
7 for it to really get widespread adoption.

8 So there's a number of hurdles. But again our
9 philosophy is if there's funding, if it's in the public
10 interest to fund the research we'll use our expertise to
11 try to overcome those barriers over time. But I think
12 hydrogen is one of those things that's always been -- the
13 saying is it's fuel cells are five years away from becoming
14 commercially viable and always has been or always will be.
15 We'll just have to see. That could change.

16 COMMISSIONER SCOTT: All right, so I'm mindful of
17 the time. If you have other burning questions for each
18 other please be sure to just let us know maybe let Tim and
19 Tami know and we can make sure to get that information to
20 each other. I do want to say a couple of remarks and then
21 we'll turn to our public comments.

22 One of the ideas that we've had over the last few
23 years is to put something together that's kind of a mini
24 version really of the Department of Energy's Annual Merit
25 Review. We don't have the time or a convention center for

1 a week long to go through literally every project that we
2 funded. But we do want to have a chance to kind of dig in
3 to some of the projects that we funded in each of the
4 categories, to really kind of take a look at it and see
5 what some of the lessons learned are. What some of the
6 challenger are, what some of the successes and surprises
7 are, so that we can continue to do some iterative learning
8 as we put together additional grant funding opportunities.

9 And so I really want to say thank you to all of
10 our presenters today for letting us do a little bit of a
11 deep dive into the projects that we have funded with you.
12 And also to our reviewers for taking time to kind of look
13 those over and ask some tough questions to learn a little
14 bit more about the projects.

15 And I also really want to say thank you to the
16 great CEC staff who work on this all day every day to make
17 these projects come to fruition. They do a terrific job
18 and we're making a difference, which is a really great
19 thing.

20 And also thank you to Larry and to Tami and to
21 Tim for putting this together, so that we have a great day
22 and a really good discussion with all of you. So I've just
23 really appreciated your time and your energy and your
24 engagement here today and over the last little bit with the
25 Energy Commission.

1 One of the thoughts that I have as we're looking
2 more into this workforce training component, and also into
3 the manufacturing component for zero emission vehicle
4 infrastructure, is if you see any pinch points coming
5 around the corner to make sure that you flag those for us.
6 Those are things that we might be able to address with
7 potential grant opportunities.

8 And also on the scale up, Kent had to leave but
9 he talked about being able to do hundreds of buses at a
10 time versus tens of buses. And he showed the canopy, the
11 solar canopy with some storage over the buses. And so
12 we're thinking about what is that scale up look like, and
13 are there again pinch points in either the manufacturing or
14 the workforce that would make it more difficult to scale up
15 if we don't see them coming? Whereas if we kind of look
16 around some corners now again we're able to put a little
17 bit of funding to addressing that trying to get out ahead
18 of those. So I would love all of your thoughts on that and
19 others who are listening in as you put your comments
20 together.

21 Let me quickly turn to Tim and Tami. What day
22 are comments on this due? And then after that we'll go to
23 our public comments. And I have a couple of blue cards
24 here.

25 MR. OLSON: So our comments are due two weeks

1 from now. That would be I think the 20th of August. And
2 the docket is on the Notice. I can't remember offhand what
3 it is, what number it is. But it's a miscellaneous docket.
4 Yeah, go ahead, Tami?

5 MS. HAAS: 15-MISC-04.

6 MR. OLSON: And you're welcome to talk to us in
7 person too. So that's the docket for this merit review.
8 Tami and Larry are going to be conducting other workshops
9 prior to their solicitations too, so we're open to that
10 before they go into solicitations any one-on-one meetings
11 if you're interested in that.

12 COMMISSIONER SCOTT: Great. Thank you very much.

13 And so yes we are open to your comments. Please
14 make sure we get them.

15 Today I have Ethan Sprague and he's followed by
16 Lisa McGhee. I don't think we have our timer up, but we
17 ask people to kind of stay around three minutes, so that
18 would be great. Let's see. The podium has a great mic.

19 MR. SPRAGUE: Great, can you hear me? Well, I'm
20 really excited to be here today. I'm representing a
21 California company called FreeWire Technologies who makes
22 mobile battery charging systems. And we're struggling with
23 all these questions, right? We are about 30 people. We
24 are in a DAC community in San Leandro.

25 And we're manufacturing batteries and compiling

1 different components that work like a little shopping cart,
2 it's about that size. And it goes to the vehicle to charge
3 them. We're talking to Proterra's customers. We're
4 talking to work places. We're doing workplace charging at
5 LinkedIn and other places.

6 And just last week we deployed our first fast
7 chargers at BP gas stations in the UK. And so these are
8 systems that you can put in. No electrical upgrades are
9 required and it can deploy 50 kilowatts of charge.

10 And so the thing that I'm struck by is that we're
11 really trying to integrate 200-year old industries,
12 transportation and the grid. And what our company is
13 trying to do is enhance the power at the edge of the grid
14 and deliver it off the grid and beyond for the
15 transportation industry.

16 And as we think about how to grow in scale and
17 get our costs down knowing about programs like this would
18 are really important. And we're really thinking about how
19 do we scale? Is the engineer in Arizona or some other
20 state? Is the B engineer in California better than the A
21 engineer in Arizona or some other state? How do we get the
22 software engineers, the controls engineers that are
23 critical to building these products?

24 We all have the same -- I hear about the wiring
25 harness issue internally and how do you create the testing

1 infrastructure to put a battery in
2 120 degree temperature versus a certain amount of time
3 etcetera. So all of these pieces that a small company like
4 ours needs to scale its manufacturing are sort of
5 integrated. And so if you would think broadly about what
6 you want to get out of your funding, because the software
7 piece may not seem like manufacturing, but it's really
8 important to the application of the manufacturing.

9 Also flexibility in the contracts, the equipment
10 changes all the time. You know, you have a portfolio of
11 cars that all charge at different speeds and have different
12 protocols for communicating with the battery to get their
13 charge. The grid has different input. And so if you start
14 off with down one path and you have to switch having
15 flexibility in that contract or to amend the contract would
16 be great.

17 And if you're funding startups for manufacturing
18 they are small organizations that are dealing with a lot of
19 new organizations as their customers. And so if you have a
20 sort of rigid bureaucratic process sometimes that can be
21 difficult in my experience.

22 I think that was everything I wanted to say.
23 Thank you very much.

24 COMMISSIONER SCOTT: Thank you.

25 And next is Lisa McGhee.

1 MS. MCGHEE: Hi, thank you. I just want to start
2 off with first of all this is very useful to be able to
3 continue to learn about the lessons learned that really
4 come right back down to the end user. And I'm one of those
5 end users. And I experienced transportation
6 electrification already, love many of the benefits, can
7 echo many of the challenges that we've heard from OEMs
8 today.

9 So it's really, really appreciated, because it's
10 apples and oranges when we compare ourselves in the light-
11 duty sector, which has got a lot of data and we compare
12 ourselves to the medium and heavy-duty sector. And so I
13 ask you this question. Where is the medium-duty data? All
14 that I heard today was a lot about the class 7 and the
15 class 8, which I actually think was really only class 8 to
16 be technically correct.

17 So I ask you that, because the medium-duty sector
18 is the largest most popular commercially registered vehicle
19 today. Here are some facts. We've spent over 1 billion
20 since 2016 for the CPUC, another 1 billion on the SB 350
21 pilot that's to come. We spent 309 million on the HFIP
22 (phonetic) since 2009. And on the ARB we're spending 700
23 million every three years in the three-year heavy-duty
24 sector. That's over \$6 billion.

25 In the HFIP we have 572 vehicle sales today since

1 2009, 207 exist today and 367 are extinct today. And so
2 I pose that question to you. That's in California HFIP
3 mapping tools as of June 1st, 2018. I pose that because
4 we've been here for nine years and so I'm looking for some
5 of these lessons learned that I hear from these OEMs on
6 robust reliability. You know, fleets need up time. And
7 they really do need robust products that all about
8 confidence. It's not like doing business for 40 miles a
9 day. We're keeping vehicles on the road eight hours a day
10 plus.

11 In the HFIP we've only got zero class 2B.
12 (phonetic) We've got in the class 3 we've got two OEMs;
13 and four, three, five, class 5, three; class 6, one; class
14 7, five; class six we have -- or class 8 we have six OEMs.

15 And so the lessons learned like I go back to it
16 really is something to do with this battery technology.
17 I'd love to hear from the OEMs as what is the weight of
18 some of these modules? And what is the shapes and sizes,
19 because from my understanding these are some of the
20 elements that are creating some uniqueness's to keep these
21 vehicles on the road as well as trying figure out how you
22 can put them in the vehicle. It's very different when you
23 have vehicles that's a 40-foot vehicle compared to a
24 vehicle that's 23-feet, 25 feet. You know there are
25 substantial differences but yet they all still need these

1 big, big, big battery packs.

2 So what is it that we're doing for the medium-
3 duty sector? I'd really like to know.

4 What are we doing for small businesses? Small
5 businesses make up 90 percent of transportation. I don't
6 really see fleets having a seat at the table. I think this
7 is a critical time where we need to move into those that do
8 have some experience in the transportation electrification
9 sector.

10 What do I see as lessons learned or actually
11 solutions? I do see maybe us going into since I heard so
12 much about rote, (phonetic) we're really kind of maybe
13 outside of maybe one OEM or so that we're still in the
14 really the prototype phase of this technology.

15 So can we do leasing programs, so that the
16 customers aren't having so much risk when we're trying to
17 learn about the technologies still?

18 And making sure that we have warranties that
19 match diesel vehicles. We just went through a lengthened
20 warranty program for diesel. We're comparing trying to
21 figure out what we're going to buy. And all of that is
22 total cost of ownership.

23 We need standards. The J-3068 was just adopted.
24 It certainly was meant to be for heavy-duty.

25 Allow retrofits. We do it in school buses. We

1 do it in the diesel goods movement. Why can't we do in
2 electrification to reduce costs?

3 Incremental cost is not meeting the program in
4 terms of actual incremental cost.

5 We need efficiencies in kilowatt hours just like
6 we do in CAFE regulations. When I do the numbers on the
7 transpower for \$440,000 for a 440 kilowatt hour battery,
8 and I look at that and I take it down to a 150 mile range,
9 we've got a 3 kilowatt hours per mile. I want to build
10 best/worst case scenario.

11 Today August 15th, if I think about August 15th,
12 which is one of the worst climate days for loads on the
13 grid, in San Diego from 10:00 a.m. to 4:00 p.m. on the grid
14 is the double circuit adder fee at 90 cents a kilowatt
15 hour.

16 So I just want us to really pose and then of what
17 have we billed for Christmas week for UPS?

18 You know, these are the things that we've really
19 got to start building for. I think fleets really have a
20 lot of those solutions, so I would love to see us move in a
21 direction for the next nine years how we're getting closer
22 to fleets playing a part. Thank you.

23 COMMISSIONER SCOTT: Thank you.

24 I have Erick Karlen and he's followed by Patty
25 DiNapoli. I'm asking folks to try to stay about three

1 minutes.

2 MR. KARLEN: Absolutely, I'll be brief. Thanks
3 to the Commission again for convening us here today on this
4 important topic. I'm Eric Karlen with Greenlots. We're a
5 leading provider of EV charging software and services.
6 We're headquartered in L.A. We have all the business staff
7 throughout California.

8 As we heard today the Commission is doing really
9 important work in accelerating advance mobility and
10 infrastructure technology, which has yielded some really,
11 really impressive projects and pilots.

12 Manufacturing and hardware is a critically
13 important aspect of advanced mobility and it's an important
14 topic for the state to be discussing. We just also want to
15 highlight the important rule that software and non-hardware
16 products and such services have been the state's leading
17 technology-driven economy, generally. And also of course
18 in clean transportation.

19 This sector is also producing an abundance of
20 good jobs for Californians. And it's also driving the
21 state's economic development and leadership role in clean
22 transportation. These jobs range from manufacturing to
23 software engineering to construction to infrastructure
24 development and maintenance amongst a whole host of other
25 types of jobs.

1 So therefore we also want to reinforce and
2 highlight the action that came out of the May 4th round
3 table in Long Beach. That the round table identified to
4 also support network development and the Commission's
5 support of manufacturing and manufacturing supply chain as
6 a definition of manufacturing.

7 So I just wanted to throw it out there and thanks
8 to the Commission again for having us here today.

9 COMMISSIONER SCOTT: Thank you.

10 I have Patty DiNapoli. That's my last blue card
11 in the room.

12 MS. DINAPOLI: Hi. I'm Patty DiNapoli from Cyber
13 Switching and the call for network-based platforms is
14 definitely what we're all about. We are a technology
15 manufacturing company. So we do manufacturing the
16 equipment. We're in San Jose. And our expertise is in
17 power management.

18 The technology that we innovated and patented has
19 been monitoring and managing the power in data centers and
20 labs. And what we've done now is we've just taken that
21 need for power management and put in the EV space, because
22 we take one circuit, one electrical circuit that feeds one
23 charging station, and we make that same circuit feed four
24 or more charging stations. And we rotate the power in a
25 round-robin scenario.

1 So our focus has been power management. We've
2 been looking at the grid and the impact that's occurring
3 now that the ZEVs are getting ramped up. And not only do
4 we make the dumb charger smart we provide entire building
5 management system monitoring down to the individual
6 circuit. So we've got pilots going in SMUD, San Francisco,
7 MTA, UC Davis. We're being tested down at SoCal Edison.
8 So it's really exciting time for us to help out with this.
9 We've been down at the ACT Expo. And we've been doing this
10 for a long time since the early '90s. And we've got a
11 cloud-based platform that's attractively priced and user
12 friendly.

13 So I'm not trying to make this an ad, I just want
14 you to know that there's power management needs that need
15 to be addressed right now with network base. And you being
16 able to take control of the power and make decisions rather
17 than being forced to use one circuit to one charger all the
18 time, there's just other ways around it. And so we just
19 wanted to share that with you today, Cyber Switching,
20 thanks.

21 COMMISSIONER SCOTT: Thank you.

22 Before I turn to the WebEx, is there anyone else
23 in the room who would like to make a comment? Okay.
24 Seeing none, I'm going to turn to Tim and Akasha for --

25 MR. OLSON: So Akasha has one person there. And

1 those on the WebEx, if you want to make a comment, please
2 raise your electronic hand. That's the lower right corner
3 of the participant's panel. And then we'll unmute you.

4 MS. KHALSA: So, Oleg, please will you pronounce
5 your name properly and speak to us?

6 MR. LOGVINOV: Sure thank you. My name is Oleg
7 Logvinov and I'm CEO of a company called IoTecha. We are a
8 bicoastal company. We have employees in the Bay Area as
9 well as New Jersey. And we focus on enabling smart
10 charging infrastructure.

11 We're one of the pioneers of ISO AC 15118,
12 technology that connects vehicles and chargers in combined
13 charging systems. And if you don't know what this
14 technology does it allows you to actually understand what
15 are the requirements in terms of capacity, time of
16 departure, state of the battery, the state of charge, if
17 the vehicle has actually a charge on the vehicle, it can
18 integrate together and understand what is the best
19 strategy.

20 So we'll provide modules that made chargers
21 smart. And we'll provide cloud platforms that help us to
22 control those chargers, manage them, integrate them with
23 the grid.

24 But today, actually I would like to speak as with
25 my second hat. I'm also a spokesperson for CharLN Alliance

1 in North America. And CharlN Alliance, if you've never
2 heard about us, is an organization that unites about 150
3 manufacturers worldwide. And the focus of the organization
4 is adaption of the combined charging system as a ubiquitous
5 standard for charging electric vehicles.

6 Combined charging systems supports both AC and DC
7 charging with the same interface, with the same unified
8 communication technology in terms of the vehicle's charger,
9 and more importantly it covers everything from low power AC
10 to 350 kilowatt DC charging. And just recently we've
11 launched a new effort that is focused on defining the next
12 version of the technology for heavy-duty vehicles over a
13 megawatt level charging.

14 And one of the key goals of this effort is to
15 maintain compatibility, backwards compatibility with the
16 current version of CCS. Scalability and worldwide
17 interoperability are a tremendously powerful driver of
18 economy of scale.

19 And I would like to reflect on the point brought
20 up in the presentation by ChargePoint. Interop (phonetic)
21 testing is absolutely important. Establishment of interop
22 labs that are independent and can serve the industry and
23 can help roll out equipment on the massive scale, EV
24 chargers and EVs that can talk to each other and interact
25 with each other, is very, very important to enable cost

1 effective growth of the market.

2 And as we know from the proceedings of as an
3 example the DGI Working Group, EV is equipped with 1-5 and
4 1-8 and CCS technologies are coming to market. The vast
5 majority of the manufacturers is supporting this
6 technology. We need to be ready for the wave of those cars
7 and I think one of the efforts that could be very
8 interesting today is establishment of a program, private
9 and public programs that can help that type of development
10 of interop labs.

11 And in conclusion I would like to thank the
12 Commission for a wonderful review. It's very useful, a lot
13 of very good facts, a lot of very good learning. And I
14 welcome collaboration between the Commission and the CharlN
15 Alliance to establish interop testing on a global scale.
16 And I think California has a tremendous opportunity to lead
17 this effort.

18 COMMISSIONER SCOTT: Thank you.

19 Do we have other commenters on the WebEx?

20 MS. KHALSA: No, Ma'am.

21 COMMISSIONER SCOTT: Okay. So if you are trying
22 to raise your electronic hand and haven't been able to,
23 we're going to give you just about like 10-15 seconds to go
24 ahead and try. Otherwise, as you all know, we take
25 comments in writing as well. And we'll be looking forward

1 to those.

2 As Tim and Tami mentioned, Tami and Larry will be
3 also happy to hear from you one-on-one as well.

4 And the comments for this particular workshop are
5 due again on Monday, the 20th. And of course, as always
6 please feel free to reach out to our staff. Did anybody
7 electronically raise? All right, just making sure. Every
8 now and again it's a little tricky to make sure you're
9 unmuted and everything.

10 So with that, then thank you everyone for all of
11 your participation today. Thank you again to our
12 presenters for their great presentations. I really
13 appreciate you coming and letting us dig into your projects
14 a little bit, to our reviewers for taking time to review
15 and ask some really thoughtful questions, and to our
16 terrific staff for putting together a great workshop.

17 Thanks everyone and have a great afternoon.

18 (The workshop was adjourned at 3:26 p.m.)

19

20

21

22

23

24


25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 5th day of September, 2018.



PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 5th day of September, 2018.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852