

DOCKETED

Docket Number:	18-MISC-04
Project Title:	Vehicle Grid Integration Roadmap Update
TN #:	226005
Document Title:	Transcript of 10/29/2018 Staff Workshop on the California Vehicle-Grid Integration Roadmap Update
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	12/4/2018 2:31:41 PM
Docketed Date:	12/4/2018

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the matter of,)
) Docket No. 18-MISC-04
)
Vehicle-Grid Integration)
Roadmap Update)

**STAFF WORKSHOP ON THE
CALIFORNIA VEHICLE-GRID INTEGRATION
ROADMAP UPDATE**

CALIFORNIA ENERGY COMMISSION
FIRST FLOOR, ART ROSENFELD HEARING ROOM
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

MONDAY, OCTOBER 29, 2018

1:04 P.M.

Reported By:
Peter Petty

APPEARANCES

California Energy Commission Staff Present

Eli Harland, Electric Generation Specialist, Siting,
Transmission, and Environmental Protection Division

Kevin Barker, Deputy Director, Fuels and Transportation
Division

Siva Gunda, Deputy Director, Energy Assessments Division

Noel Crisostomo, Air Pollution Specialist, Fuels and
Transportation Division

Peter Chen, Mechanical Engineer, Energy Research and
Development Division

California Public Utilities Commission

Carolyn Sisto, Analyst, Energy Division

Panelists

Jamie Fine, Environmental Defense Fund

Hannah Goldsmith, California Electric Transportation
Coalition

Jeremy Whaling, American Honda Motors

David Schlosberg, eMotorWerks

Cynthia Fang, San Diego Gas & Electric

Dean Taylor, Southern California Edison

Eric Cutter, Energy and Environmental Economics

Jason MacDonald, Lawrence Berkeley National Laboratory

Pamela MacDougall, Natural Resources Defense Council

APPEARANCES

Public Comment

Jacqueline Piero, Nuvve

Thomas Ashley, Greenlots

Matthew Tisdale, Gridworks

Steve Davis, Oxygen Initiative

Hitesh Soneji, Olivine

Vincent Weyl, Kitu Systems, Inc.

Ryan Harty, Honda

Holmes Hummel, PhD, Clean Energy Works

Karim Farhat, PhD, Pacific Gas & Electric

Richard Schorske, ZNE Alliance

Bill Boyce, Sacramento Municipal Utilities District

Kelsey Johnson, Nuvve

INDEX

	Page
Welcome and Opening Remarks	
Welcome and Housekeeping	
Eli Harland, California Energy Commission	5
Opening Comments	
Kevin Barker, Deputy Director, Fuels and Transportation Division	7
Overview of process to update the VGI Roadmap And Discussion Document - Noel Crisostomo	21
Discussion Panel 1: Policy and Planning	30
Public Participation	77
Discussion Panel 2: Economic Potential	99
Public Participation	159
Wrap Up and Adjournment	
Day 1 Closing Remarks	
Siva Gunda, Deputy Director, Energy Assessments Division	182
Adjournment	184
Reporter's Certificate	185
Transcriber's Certificate	186

P R O C E E D I N G S

1
2 OCTOBER 29, 2018

1:04 A.M.

3 MR. HARLAND: Good afternoon, everybody. We're
4 going to get started. If everybody can find their
5 seats, it looks like everybody's got one. We weren't
6 sure what the turnout was and if we'd have enough
7 chairs, but it looks like we do.

8 My name is Eli Harland. I work here at the
9 California Energy Commission. I'm working with a team
10 of folks across some of the Energy Commission Divisions
11 to update the 2014 VGI Roadmap. And so, some of you
12 have participated in this process for the last -- since
13 September, and some may be new to it.

14 Thank you, everybody, for showing up today and
15 for staying engaged in our roadmap process. And also,
16 thank you to our showcase providers. I saw many faces
17 here, who got to walk around and check out the
18 Technology Showcase. But I do want to say thank you to
19 those providers. That was all volunteer and all raised
20 their hands and willing to come participate.

21 So, if we can do this again next year, maybe
22 we'll have a larger space and more providers to come on
23 out.

24 So, before we jump into the workshop, I do want
25 to go through a couple housekeeping items. And then,

1 after that, I'll be turning it over for opening
2 comments.

3 So, in case of an emergency there is a park,
4 Roosevelt Park, that is across and diagonal from the
5 Energy Commission. It's across 9th Street there, on the
6 map. Please follow Energy Commission staff out of the
7 building, if there's an emergency.

8 We are also broadcasting the workshop today
9 through WebEx. Those on WebEx know that we're doing
10 that because they're receiving this broadcast. But for
11 the rest of you, we're broadcasting that message and
12 it's being -- this workshop is being recorded through
13 WebEx and we're also transcribing this workshop today.

14 So, we hope to have the recording available real
15 soon, after we're finished up today and after we're
16 finished up tomorrow. And then, we should have the
17 transcript shortly thereafter. We'll notify the
18 Listservs when both of those are available.

19 So, the folks on WebEx, your phone lines have
20 been muted and we're going to keep them that way. We
21 will offer opportunities to participate in the workshop
22 through WebEx. And when we do that, we'll indicate when
23 it's time to do so.

24 If you do have a question and it's something you
25 can solve by chatting the WebEx administrator, please

1 chat the WebEx host with that question. If not, there's
2 a raise hand function in WebEx and you can use that
3 raise hand function to alert our WebEx host, if you have
4 a question. We will be using that raise hand function
5 when we're doing public participation and audience
6 participation.

7 So, thank you, again, everybody for coming out.
8 And I want to turn over the workshop, real quickly, for
9 opening comments to Kevin Barker. Kevin is our Deputy
10 Director of our Fuels and Transportation Division here.

11 Kevin, I'll let you take it over.

12 MR. BARKER: Thanks Eli. I've got some notes
13 here, so pardon me if I'm reading off some of these.
14 I'm fairly new to the job and I want to make sure I say
15 everything that Noel wants me to say.

16 So, welcome back from lunch, everyone. First,
17 Eli acknowledged the showcase. I'd like to acknowledge
18 it as well. Thank you for everyone that helped put it
19 on, on our staff. Noel, Matt, Eli, Rey.

20 Thanks to the vendors. I'd like to actually
21 mention you all by name. BMW of North America. BTC
22 Power. Center for Sustainable Energy. ChargePoint.
23 Greenlots. EV Box. IoTecha. Kitu Systems. Nuvve.
24 Proterra. Rhombus Energy Solutions. And UC San Diego.

25 So, thanks for your participation. And if we

1 could, could we just get a round of applause for
2 everyone?

3 (Applause)

4 MR. CRISOSTOMO: And FreeWire Technologies was a
5 late add.

6 MR. BARKER: And FreeWire Technologies was a
7 late add. Thanks.

8 So, thanks again for everyone in the room and
9 everyone participating here, on WebEx, for this very
10 technical two-day workshop.

11 You know, when we initially were thinking of
12 pulling these sorts of webinars and workshops together,
13 we had thought about somewhat spacing them out. And I
14 think, ultimately, we went with this format where we
15 could have something fun that everyone could look at,
16 and see the new technologies. And then, be able to
17 space it out over the amount of days and not have
18 everything have to travel up here multiple times, and
19 really dive into the nitty-gritty.

20 So, this is our planned first and only workshop.
21 We had a webinar earlier. As we move forward, you'll
22 probably hear next steps. But, really, use this as your
23 opportunity to get your input in and really drive where
24 we're going.

25 So, with the VGI Roadmap, you'll hear that we

1 are building off of the one that we did four years ago.
2 And as we sort of think about updating roadmaps, you
3 know, you would hope that a roadmap would still be
4 relevant and useful four years later. However, in this
5 space, we know that's not the case.

6 Things are moving so fast that when we talked
7 earlier, and this is actually when I was in the Chair's
8 Office, about thinking about updating some other
9 roadmaps, too, everything else we put on hold because we
10 thought this was the most important update that we
11 needed to do. And so, he directed multiple divisions to
12 put this together.

13 And, thankfully, we even reached out to have the
14 Siting Division, where Eli's part of, to help lead the
15 effort.

16 So, I would note earlier this year ARB's 2016
17 GHG Inventory was released. And it came with really
18 great news, right. So, we met the AB 32 goal, the 1990
19 level GHG emissions four years early. Folks never
20 thought we were ever going to be able to do that, so
21 really great news.

22 However, it also came with bad news. So, for
23 the third year in a row the GHG emissions from the
24 transportation sector increased.

25 So, with that said, with all the good work that

1 we've been doing, our emissions have still increased.
2 And so, we can throw our hands up in the air and say I
3 give up. It looks like no one in this room is saying
4 that. Or, we could look at it as a great opportunity to
5 make a change.

6 And so, I looked at it as the latter. Hence, I
7 want to say maybe less than a month ago I took on this
8 job as Deputy Director to run the Fuels and
9 Transportation Division.

10 We've got a great group of folks. We also have
11 a great group of other division staff that I've had the
12 opportunity to work with many times, like Rey in R&D,
13 Alisha. But then, also someone that you'll hear from, I
14 believe later today, and then I'm glad he's not in the
15 room because he's going to try and tell this same joke,
16 but I'm going to get to it first.

17 We wore the same shirt today. So, you'll notice
18 that for some reason we both shop at Target to get our
19 dress shirts.

20 But anyway, so working with Siva over the
21 course, breaking down the silos within the Energy
22 Commission I think is really important. And so, I'm
23 glad we've been able to have this group.

24 So, today and tomorrow we seek to collaborate to
25 break down additional silos. But this silo is between

1 the transportation and the power sector. The
2 electricity sector must keep pace with renewable energy
3 prices and needs to modernize and make the grid
4 resilient among the impacts of climate change.

5 Similarly, transforming the automotive industry
6 must respond to evolving customer preferences.
7 Automakers, who previously only sold cars, are now
8 offering mobility subscriptions. Their transition from
9 combustion engines to zero emissions is critical to
10 address air pollution.

11 Fortunately, policy ambition for cleaner air is
12 being met with innovation in batteries and networking
13 technology.

14 Importantly, as we head into this very, very
15 important election on November 6th, we're seeing
16 consumers vote with their wallets on a daily basis. But
17 still, the Intergovernmental Panel on Climate Change
18 provides us a stark challenge. Limiting global warming
19 to one and a half degrees centigrade requires rapid and
20 far-reaching transitions in energy, land, transportation
21 and building infrastructure, and industrial systems.

22 These systems are transitioning to unprecedented
23 -- in terms of scale, but not necessarily in terms of
24 speed, and imply deep emission reductions in all
25 sectors, a wide portfolio of mitigation approaches and a

1 significant upscaling of investments.

2 Responding to this call, staff from across the
3 four divisions of the Energy Commission have been
4 collaborating with colleagues across multiple agencies
5 to assemble your expertise so that we can accelerate
6 from evolutionary progress in electric vehicles and the
7 grid, to revolutionary adoption of renewable-powered
8 transportation.

9 This is only possible by working together.
10 Integrating across divisions, across agencies, across
11 industries and across countries. The roadmap helps
12 focus our joint efforts. For example, CEC's annual
13 research reviews of EPIC and ARFVTP investments, the
14 CPUC's Communications Protocols Working Group.

15 But the roadmap must overcome persistent
16 barriers. It's critical to align policy incentives and
17 stakeholder economic motivations and address consumer
18 awareness so that we can leverage electric
19 transportation technologies to their full potential.

20 As we update the VGI Roadmap, we encourage you
21 to identify solutions that overcome barriers to VGI.
22 More importantly, we need to identify paths for
23 implementation, with the urgency that protecting
24 California's health and welfare demands.

25 We look forward to seeing what courses of

1 actions that you map out with staff and continue
2 progress so that we can make driving electric for all
3 Californians a reality.

4 So, with that, I'll hand it back over to you,
5 Eli. Thank you.

6 (Applause)

7 MR. HARLAND: All right, thanks, Kevin. I know
8 I'll be consulting the transcript for some of those
9 talking points in the introduction of the roadmap, when
10 we prepare that draft. That was great.

11 So, before I provide -- you can see there's a
12 schedule that's up on the screen. And before I go into
13 the third bullet there, under today, the roadmap
14 overview, I wanted to quickly describe the panel format
15 we've laid out today, and the panel format for tomorrow.

16 So, the way that we've designed each of these
17 panels is, for those that are familiar with the roadmap
18 matrix of issues and barriers that we -- that we
19 released back in September, and a lot of folks reviewed
20 and comment on. We had these four tracks that we
21 attempted to kind of silo those topics into so that we
22 could begin to digest them.

23 And so, we had a policy and planning track, an
24 economic potential track, a technology needs track, and
25 a customer experience track. So, we've taken those

1 tracks and those themes and have created four panels for
2 today.

3 Those that are familiar with the workshop
4 agenda, you'll see each of those four panels described,
5 as well as the panelists that will be participating, and
6 a moderator.

7 So, the way that each panel will work, we're
8 going to hear brief discussion and presentation from
9 each of those panelists, addressing the discussion
10 questions that are on the agenda. They may address
11 some, one, a portion of one, all, or additional items,
12 potentially. But we're going to hear each of the
13 panelists that we've invited to participate, we're going
14 to hear their reactions to those questions.

15 Following that, the moderator is going to,
16 hopefully, spark a conversation between each of the
17 panel members in reaction to what they heard. And as we
18 begin to exhaust that conversation, we're going to open
19 it up to the audience members to participate in that
20 discussion, as well.

21 So, if there's something that an audience member
22 wants to react to, or a question, or want to provide a
23 response to one of the agenda items, we're going to open
24 it up for audience participation.

25 During that time, we'll ask you to just raise

1 hands, and we'll walk around with a mic and queue people
2 up as best as we can. We're also going to allow folks
3 on the WebEx to do the same thing.

4 So, we have a pretty full room here and a pretty
5 full WebEx, so we're going to see how well we can do
6 that.

7 I don't intend to limit people's time that
8 they're speaking, but if it seems like it's going too
9 long and people aren't going to have a chance to
10 participate, we'll have to manage that as it comes up.
11 So, that is how the format's going to work.

12 So, this afternoon, we're going to explore the
13 Policy and the Planning, and the Economic Potential
14 Panels.

15 And then, tomorrow, we're going to have the
16 morning session is going to focus on Technology Needs.
17 Afternoon session, we'll focus on the Customer
18 Experience.

19 So, objectives for the workshop. We're really
20 after the information that we would need, as staff, and
21 our partner agencies. So, the California ISO, the
22 Public Utilities Commission, and the Air Resources
23 Board, who are partnering with the Energy Commission on
24 this update.

25 We're really looking for the information that we

1 would need to be able to begin identifying and
2 describing solutions to those issues and those barriers
3 that are currently articulated in the matrix that was --
4 the revised matrix that was released on Friday.

5 We're really keen on finding the responsible, I
6 guess you could say, entities or organizations that
7 would put that action into play, as well as the priority
8 of those actions. And anywhere, where it makes sense to
9 identify if that action has a relationship or an
10 interrelationship to a different action, or it may be
11 something that needs to be sequenced, or it may be
12 something that's dependent on something else.

13 For those that are familiar with California's
14 Energy Storage Roadmap, there was a similar format
15 that's followed for identifying those particular actions
16 and the folks to undertake them.

17 I will, for a disclaimer, when we're talking
18 about actions and assigning responsibilities, through
19 this roadmap process we have zero power to tell people
20 to do things. So, this is a stakeholder opportunity to
21 help us articulate to other entities, whether it's an
22 agency, or a market, or a combination of that, on things
23 that can be done to overcome any of those issues and
24 barriers for VGI.

25 And, obviously, the steps to prioritize those

1 will be important, as well, because we don't want to
2 hand a menu to an agency without much context, like
3 prioritization.

4 So, through the workshop today, through the
5 public comment period that is available for folks to
6 comment on, that's where we're going to be gathering
7 this information. Our goal is to have that information
8 and be able to go back, following the public comment
9 period, and prepare a draft roadmap.

10 That draft roadmap is going to include
11 supporting text and preamble, along with an updated
12 spreadsheet that has more than just goals and issues in
13 it. It's going to have goals, and issues, and actions,
14 and those responsible organizations and prioritization.

15 So, real quickly, before we get started on
16 kicking off our first -- getting started on kicking off
17 our first panel, I wanted to revisit real fast with
18 everybody, this is originally the schedule and approach
19 that we presented back in September that we were hoping
20 to be able to follow for the roadmap effort. So, we did
21 hold a kickoff webinar on September 6th, and initiated
22 the public process for the roadmap.

23 We did release, at that time, a framework, as
24 well as a matrix of goals and issues. We received
25 comments from 13 organizations -- or, 13 public comment

1 letters, representing about 30 organizations. So, to
2 those in the room or those listening, that did submit
3 those comments, we really appreciate it. There was
4 really attention to detail, a very thorough uncovering
5 of issues and thorough comments. So, we do recognize
6 that people spent a lot of time on that and that we're
7 asking folks to spend a lot of time on this. And here
8 we are, again, and we're going to be asking for more
9 time.

10 So, the kickoff webinar and the comments on
11 that, what we hope to have developed, what we called a
12 discussion document, where we were going to describe,
13 essentially, VGI policy and VGI programs in the State,
14 in a bit of a consolidated, organized fashion.

15 And we also wanted to release a refined goals
16 and issues within the matrix, as well as pose some
17 discussion questions for the workshop today.

18 So, we were able to put together the workshop
19 discussion questions. Those are in your agendas. That
20 agenda came out last Friday. So, folks that have the
21 agenda, it's available in the back room, folks on the
22 web you know where to find that agenda. But those are
23 the discussion questions.

24 These discussion questions are the result of
25 staff here looking at the comments that we received from

1 the organizations on the original matrix. And those
2 discussion questions are meant --

3 (Operator interruption)

4 MR. HARLAND: Those discussion questions are
5 meant to force -- they're meant for staff to answer the
6 questions we would need, essentially, to begin filling
7 out that matrix.

8 And then, we also, on Friday, released what
9 we're calling an updated goals and issues/barriers. So,
10 that spreadsheet was posted on Friday. And you'll see
11 that there's a column in there that indicates the
12 original problem and issue, the way that staff
13 articulated that back in September.

14 And then, the column to the right of that is a
15 new -- or, a new issue or a problem statement. In some
16 cases, you'll see that we decided to either collapse or
17 consolidate some of our old ones and create a new issue
18 statement. In some cases, we didn't make any changes at
19 all. And then others, we completed deleted some of the
20 ones that we were working on.

21 So, when you read through that, you'll be able
22 to clearly, hopefully clearly see what's new and what
23 changed. And so, I just want to alert everybody to that
24 fact that there's that new problem and issue.

25 And so, all of that was leading up so that we

1 could get to today and tomorrow. Which is our, you
2 know, as Kevin discussed, this is meant to be our -- the
3 heart of our public process at this point, as far as a
4 workshop process goes for the roadmap.

5 We're going to go through the panels that I
6 presented there, in just a bit. We're going to start
7 with the policy and planning.

8 And comments are going to be due on the 21st of
9 November, in response to today.

10 And the goal for us, still, is to, after that
11 comment period closes, that comment opportunity's done,
12 we'll have enough information to go back and put
13 together a draft roadmap. And at that time, we'll
14 release that draft roadmap and hold a webinar, very
15 similar to the first webinar we did to kick off the
16 roadmap process.

17 And again, that's going to open up an additional
18 public comment opportunity. So, today isn't the last
19 time. Up to the 21st isn't the last time to comment.
20 There's going to be a comment period on the draft
21 roadmap. And that draft roadmap will have those, our
22 first cut at actions, as well as prioritization, and
23 some of the assignments that we're doing.

24 So, I'm going to turn this over to Noel. Noel
25 is going to kick us off, our Policy and Planning Panel,

1 with the bullet that's next to the workshop discussion
2 document, where it says policy and program review.
3 Noel's going to kick us off with a framework that he's
4 started to develop to begin framing the interaction of
5 policies, and programs, and the market. And he's going
6 to walk us through there.

7 And I hope that that's a good setup, before we
8 get into our Policy and Planning Panel.

9 So, I'll turn it over to Noel and let him
10 present.

11 MR. CRISOSTOMO: Thanks, Eli. My name is Noel
12 Crisostomo and I'm an Air Pollution Specialist in the
13 Fuels and Transportation Division.

14 And we'll try to provide a little bit more
15 context of why we're here and why we need to continue to
16 improve our coordination, again, across state agencies,
17 across industries, so that we can really electrify our
18 transportation sooner, in order to rise to the challenge
19 of climate change.

20 Our main goal here is to power zero emission
21 vehicles with clean energy to help the economy of
22 California achieve carbon neutrality by 2045. This
23 combines some recent policy efforts by the Governor, in
24 his executive orders, in addition to increasing the
25 ambition of our regulatory agencies' programs to support

1 electrification.

2 As Kevin mentioned, we've seen increases in the
3 total share of emissions in California coming from
4 transportation. They're roughly have of the State's
5 greenhouse gas footprint. And from an absolute
6 perspective, they are the largest in the State.

7 We want to accelerate the deployment of 5
8 million zero emission vehicles by 2030. And by that
9 time, we'll be transitioning to a power system with 60
10 percent renewable portfolio standard. And, eventually,
11 want to have a fully clean electric system by 2045.

12 And just as examples of all the policy efforts
13 that have recently passed through the Legislature this
14 year, the agencies will be responsible for assessing
15 infrastructure needs and moving toward enabling more
16 expeditious charging station installations.

17 As Eli mentioned, the matrix of goals, issues
18 and barriers from September identified a goal to "frame
19 the interactions between policy initiatives, market
20 pushes, and demand-pull factors that are required for
21 achieving widespread deployment of charging and grid
22 reliability goals, and to propose changes to EV
23 deployment plans and VIG policy to address gaps."

24 Stakeholders generally commented in agreement
25 that coordinating between the many transportation

1 electrification efforts that will ultimately impact
2 California's grid was necessary to improve planning and
3 investment deficiency, and to ensure that our efforts
4 are moving quickly.

5 So, to initiate a solution to overcoming those
6 barriers, back in 2014 stakeholders considered the 2014
7 VIG Roadmap's three interrelated tracks. I'm sure most
8 of you are familiar with the old VIG Roadmap. But to
9 remind you, the three tracks were first, determine VIG
10 value and potential. Two, to develop enabling policies,
11 regulations and business processes. And, three, to
12 support enabling technology development.

13 So, back then, stakeholders expected that these
14 would be implemented roughly sequentially, largely with
15 the valuation of use cases defining policy and program
16 requirements, which inform technology deployment and
17 implementation.

18 But in reality, due to several factors that I
19 won't list exhaustively here, we weren't accounting for
20 things like SB 350, and its transportation
21 electrification responsibilities for the utilities, and
22 the new integrated resource planning process.

23 We weren't accounting for pretty rapid
24 advancements in controls research, battery technologies,
25 and the expansion of electrification to many different

1 sectors beyond light vehicles.

2 And new imperatives to serve customers more
3 broadly, particularly low-income and disadvantaged
4 communities have put a fire under us.

5 And so, staff is at this point recommending that
6 the roadmap update reflect this fact that electricity
7 markets, policies and programs, and VIG technologies are
8 not only evolving sequentially, but in parallel, at the
9 same time.

10 The challenge, however, comes from the fact that
11 despite best efforts to coordinate, because our efforts
12 share scopes that ultimately affect program designs,
13 vehicle demand, and charging sessions, and at the very
14 end grid loading, policy silos might pose challenges for
15 our efforts to cost effectively integrate vehicles with
16 the grid, impact customer usability, and forego benefits
17 to society.

18 So, to account for policy interactions more
19 holistically, instead of just treating VGI as a
20 technology or a rate design issue, we want to close
21 policy gaps, identify key areas of leverage, and improve
22 efficiency of our planning processes, which will
23 accelerate the benefits to everyone in California.

24 And so, the next slides propose how we could
25 work together to frame how policy, planning, and market

1 efforts that influence VGI and are influenced by this
2 effort, this integration, could work more closely in the
3 future.

4 And Eli said that this was just my idea, but
5 we've been working together with the agencies to try to
6 make the inputs and outputs of each of our independent
7 processes more aligned.

8 So, these range from the R&D and innovation
9 process, manufacturing, transportation emissions
10 reductions policies, characterizing how VGI resources
11 behave and act, integrated resource planning, program
12 design, deployment to customers, evaluating the
13 differences in impact to the customer and to the system
14 with and without VGI. And, of course, the public and
15 private investments that are underpinning our efforts.

16 And so, to help organize our thinking, I'll be
17 highlighting in a build to this slide that naturally
18 arise when we consider our common efforts across these
19 areas.

20 So, first, how does an agency's effort or an
21 automaker's effort create and foster the use of ZEV
22 technology to achieve an environmental objective?

23 What's the right time to introduce a new
24 product? And when are policies appropriate to
25 accelerate deployments?

1 Second, to support new technology deployment how
2 do markets support rapid competitive scaling of
3 necessary vehicle and charging technologies from a
4 supply chain stand point?

5 What types of public and private investments are
6 necessary to crystalize market success and buy down any
7 incremental costs or overcome barriers?

8 How can we expect drivers to charge? So,
9 resource characterization happens in load profiling at
10 the CAISO, in defining resources, in doing submetering.
11 And so, how do we track behaviors and how do we
12 anticipate enabling technologies to make these loads
13 more dynamic?

14 How VGI resources fit in the broader integrated
15 resource planning process and our decarbonization
16 efforts overall? How do we leverage this resource to
17 avoid conventional ramping generation from being built
18 or required for operational conditions?

19 Sixth, how are procurements and incentive
20 designs created to put VGI in the hands of customers,
21 and fleet providers, and the public at large? And how
22 are they then enrolled into dynamic rates, or ancillary
23 services to help the grid?

24 Seventh, what steps must be taken in order for
25 users to more easily adopt, construct, use these

1 technologies, both on the vehicle side and the EVSE
2 side?

3 And how can all the things that have happened in
4 the upper part of this process be recognized so that
5 when we're making investments today, because we will be
6 working in parallel, how do we understand how those
7 decisions affect the extent to which we can reduce grid
8 impacts, to improve the customer experience and,
9 ultimately, greenhouse gas emissions?

10 And then, finally, acknowledging, again, that
11 these policies have to be moving in parallel. How do we
12 ensure that we iterate quickly and expand the potential
13 for investment that minimizes the impacts on ratepayers
14 and maximize emission savings?

15 And so, the goal of this framing, again, is to
16 identify potential synergies between actions, because
17 policies and products are continuously being developed,
18 but could synchronize better. Better alignment would
19 improve cost effectiveness of vehicle and infrastructure
20 deployment, reducing utility costs, minimizing emissions
21 from both sectors.

22 And so, this framework, which will be published
23 in the discussion document following the workshop,
24 provides a visual means to support stakeholders'
25 understanding of the opportunities for VGI throughout

1 all of our transportation electrification efforts.

2 And, specifically, when you tie this back to our
3 matrix process, and the commenting process, we think
4 that these categories and the connection between them
5 could serve as identifiers in how we can sequence these
6 efforts to the greatest amount of leverage.

7 And so, these are kind of a table-setting effort
8 to delve into our policy and planning panelists, in
9 which they'll be responding to these themes and the
10 questions that you have in your agenda.

11 What are the key policy actions and interfaces
12 that we could create to make sure that VGI is better
13 integrated into our processes and programs?

14 And how can we all be working more effectively,
15 from a policy development stand point, to maximize
16 benefits that we all want to realize today?

17 So, I'll turn it over in order of panelists
18 listed on the agenda. So, Jeremy, I think you are up
19 first.

20 Oh, sorry, now, that was the old version.
21 Unfortunately, Matt Stanberry, from AEE, is unable to
22 attend due to some inclement weather. But I'll just be
23 highlighting a few points that come from his and AEE's
24 recent paper. Right.

25 EVs 101, a Regulatory Plan for America's

1 Electric Transportation Future. Just for your
2 reference, this is a nice document for you to read.

3 And so that our record reflects some of the --
4 adjusting utility planning and operations to fully
5 integrate PEVs, he had some recommendations for how to
6 improve policy.

7 So, we have to geographically and granularly do
8 load forecasting for peaking analysis of the grid at the
9 distribution and wholesale market levels.

10 Second, there's a need to develop shared
11 planning scenarios and assumptions based on broad
12 stakeholder inputs.

13 Third, there's a need to invest in advanced
14 utility monitoring and control systems, like SCAA, AMI
15 and DERMS.

16 Fourth, there's a need to manage load with smart
17 chargers, capable of remote communications and embedded
18 metrology.

19 Fifth, there is a need to create processes for
20 the expeditious review of interconnection requests and
21 customer participation in services, including vehicle-
22 to-grid.

23 And sixth, regulators should recognize standard
24 is critical for making investment in infrastructure.

25 And so, to transition to people who are able to

1 be sitting here with us, today, I'd like to introduce
2 Jamie Fine from Environmental Defense Fund.

3 And, Jamie, do you have a clicker with you?

4 MR. FINE: No, I do not.

5 MR. CRISOSTOMO: Okay.

6 MR. FINE: Do you want me to stand over there?

7 MR. CRISOSTOMO: Whatever you would -- whatever
8 you'd prefer.

9 (Pause to set up)

10 MR. FINE: Okay, thank you very much. Thank you
11 very much for the opportunity to offer some comments
12 from Environmental Defense Fund.

13 Before I jump into those, I do want to also send
14 a shout out to the demonstrators this morning, the folks
15 who were showing off their technology. I just can't
16 tell you how important it is to have your innovative
17 ideas in this house. And I know it's hard to take time
18 out of your very busy schedules to provide that
19 experience for us. But for us advocates, who are
20 oftentimes trying to understand what you're up to, it's
21 really very valuable. So, thank you for that.

22 So, Environmental Defense Fund is a national
23 environmental nonprofit. We're about 500 strong
24 nationwide, now. Actually, around the world. We have
25 offices around our country, and in Beijing, and in

1 London, and in Mexico. We have programs in oceans and
2 water health, climate and, of course, energy.

3 And in the energy space we have major efforts in
4 electricity and natural gas. And I'm going to be
5 speaking mostly from my experience, advocating around
6 electricity policy reform, a lot of the time at the
7 CPUC, here in California.

8 So, I want to just start by telling you what
9 EDF's key points were in directly answering -- that's
10 right, I'm forwarding my presentation, but not yours.
11 Directly answering the questions.

12 On the first question, what's the policy
13 framework we should be thinking about?

14 Well, you heard it already from AEE. I'll say
15 it somewhat differently that we should be endeavoring to
16 provide an understanding of value in increasing time,
17 place, and product or service type.

18 This is something that we've spoken about in the
19 context of retail pricing, and reforming electricity
20 prices that residential, commercial, and industrial
21 customers see. But it also plays out in exactly this
22 same space, too. So, if you want charging behavior to
23 behave, that aligns with the grid, that charging
24 behavior needs information and the starting point of
25 that information is pricing information.

That inform

1 one time to the next.

2 And, as well, we need to have a long-term
3 planning horizon as we think about value. Put simply,
4 if we don't know where we're going, we're likely to end
5 up somewhere else. And that planning horizon oftentimes
6 can be confounding if we're looking at long-term siting
7 and investment strategies around, for example, large
8 generation or transmission. If we don't have a 7- or
9 10-year planning horizon, we're going to miss
10 opportunities to help the system evolve towards the
11 goals that we want to see because, frankly, we'll run
12 out of time.

13 On the question of how do we leverage VGI as a
14 distributed energy resource? First is to recognize
15 what's possible. Recognize what VGI resources can
16 bring. For example, an ability to take solar energy
17 that we're currently curtailing in California.

18 And then, I already made by point about and then
19 have planning time horizons and information that allows
20 us to design towards that goal.

21 Well, I'll make a further point about that, as I
22 get into my few other slides.

23 On the question of procurement programs, I've
24 already mentioned we need precise pricing. And the
25 reason we need that is because we want to trust that our

1 innovators can bring solutions to the table. And if
2 they have that pricing information, they can innovate.

3 We can think about other innovations we've seen
4 in the system. And that innovation, in many cases,
5 happens in the absence of good pricing.

6 I had three conversations this morning and every
7 one of them revolved around an ability to harvest value
8 that cannot be, yet, harvested. And that's a problem,
9 right. So, let's trust that our innovators and our
10 markets can harvest that value when it's presented and
11 when it's available.

12 And then, finally, yes, we do need to change our
13 business model practices. We need to transition away or
14 at least deemphasize the rate of return construct. We
15 know that there's strong utility enthusiasm for
16 investing in infrastructure when it can be a rate of
17 return asset. And EDF has supported those investments.

18 We want to be sure that they're used and useful
19 and there's the right balance between risk and reward
20 between shareholders and ratepayers. We haven't seen
21 that balance in early VGI proposals, but it's certainly
22 something that I think we can achieve.

23 And then, one way to deemphasize rate of return
24 revenues is to emphasize or open the door to new revenue
25 ideas. Notably, fees for services. And I'll be

1 speaking a bit more about that, as the day goes on.

2 And so, that's kind of my take home point, and
3 to motivate those points a little bit, and to move
4 quickly with the right slides.

5 So, this is just curtailment data. I have an
6 analyst back at my shop, who's been tracking CAISO data
7 on how much we are turning off our solar and wind
8 generation. And again, you're not -- I don't know how
9 well you can read that slide, but what you're seeing is
10 each line is a newer year. The top line is 2017. And
11 what we see is massive quantities of solar generation
12 being curtailed. And this is both the bulk and private,
13 rooftop solar generation capability.

14 And at the same time, we're seeing this
15 curtailment, we're seeing -- we have other challenges in
16 California that we need to be aware of. For example,
17 one-in-three customers are on rate discounts because of
18 household income constraints. And many of those
19 customers are not yet able to get access to the energy
20 services that they need.

21 So, we need to be aware of the initial condition
22 in California and it's not a panacea for everyone, yet.
23 And we actually have some real symbols of waste in the
24 system that a smart VGI and V2G program can begin to
25 address.

1 So, I think we're all familiar with the duck
2 chart challenge in California. Thank you. And the
3 essence of it is it's a challenge, but it's also a
4 massive opportunity.

5 I've worked for several years in the California
6 Public Utilities Commissions, advocating for changing
7 residential customers for time-of-use rates. And that
8 is, indeed, progress. But those time-of-use rates only
9 hint at the significant negative locational margin of
10 prices we're seeing in the grid.

11 They do inspire folks to use more energy at the
12 low-price times of the day, in the middle of the day,
13 the price signal is not nearly as strong as LMP prices
14 suggest it could be. And it doesn't reveal that
15 locational value that I spoke to earlier around, you
16 know, distribution system values.

17 This is an opportunity for EVs to help solve the
18 duck problem. And when we think about solving that, we
19 have a tendency to think about the individual, the
20 individual EV. But the work I've done, looking around
21 California, there is an enormous need to also think
22 about community and regional-scale solutions.

23 We know that a lot of our capacity investments
24 are driven by local reliability needs. And we also know
25 that many of our communities do not have access to the

1 capital necessary to invest in their own EV, in your own
2 driveway today. But community-scale opportunities are
3 out there and they're already being developed.

4 EDF highlighted one example and that's a
5 community mobility services center that's being built.
6 Or, actually, their ribbon-cutting ceremony was two
7 Friday's ago in Huron, California, one of California's
8 poorest cities.

9 And the notion behind that is to provide a
10 mobility solution that is one where -- the mayor calls
11 it the anti-Uber, and it's one that provides economic
12 opportunity and income opportunities for people living
13 in a community, now, who have few attractive
14 opportunities in that realm.

15 Thank you. These are EDF's comments on the VGI
16 Roadmap that we want to develop V2G market
17 opportunities. And this is a broader way of saying what
18 I've already said. We have seen examples, already, of
19 aggregated demand response services from EV charging
20 networks. We'll hear more about that today.

21 That's just a tip of an iceberg. There is an
22 enormous value stack that could be harvested. And it is
23 often thought of as an aggregated service of multiple
24 vehicles and that can, in fact, be the case. But if you
25 have pricing at the distribution edge that is very

1 accurate, you don't necessarily have to aggregate
2 resources for sale into wholesale markets. You can
3 harvest value against that very precise tariff. And
4 some of the aggregation and sales pitch work you have to
5 do, and satisfying CAISO, for example, standards is a
6 step you maybe don't have to take.

7 And then, notably, these resources should be
8 planned for capacity. That's where the big money is in
9 California. And if we don't plan for our parking
10 garages to become power plants for an hour each day,
11 we're going to build other power plants to do that work.

12 This is an RMI construct that I think is
13 valuable because it shows the 13 different services
14 batteries could provide. And it shows those services
15 from the perspective of three different stakeholders,
16 the ISO, the utility, and the customer.

17 And I think it's very important for us to keep
18 in mind that the question of cost versus benefit, and
19 the question of value needs to be thought of in the
20 context of whose value, and who ends up owning this
21 stuff.

22 And then, I'll also note that this construct
23 reveals that you could think about centralized versus
24 distributed solutions, and they should all be
25 contemplated.

1 I mentioned harvesting the full value stack.
2 I've been in the distribution resources planning
3 proceeding at the CPUC, where we are planning out the
4 values of distributed energy resources on the
5 distribution grid. And I've got news for you, we're not
6 planning to harvest all the value, yet.

7 This is a long list of the values that we could
8 be bringing to the grid with DERs, and this doesn't
9 include elements like enhancing the ability to utilize
10 our renewables, our bulk renewables, because you have
11 DERs providing services.

12 One data point on that is Lawrence Berkeley Labs
13 estimate of demand response potential in California.

14 Well, we're all familiar with DR, as we're
15 demonstrating it now, a shed of resources, where we ask
16 our cars to stop charging if the grid is challenged.
17 Or, we ask them to charge when the grid is perhaps
18 curtailing renewables. And that's a very important
19 start.

20 V2G means something much more sophisticated and
21 much more complex, and an opportunity to harvest a
22 greater variety of values, including tapping into
23 capacity, this long-term reliability component.

24 If we can't get into the capacity value, again,
25 those are costs that we'll be incurring elsewhere, and

1 it becomes a missed opportunity for the vehicle fleet.

2 I want to wrap up quickly here. I do want to
3 mention that when EDF talks about providing dynamic
4 prices or other precise pricing and information at the
5 distribution edge, this is not necessarily something
6 that everyone will want to embrace.

7 I love this graphic from SoCal Edison. It's now
8 a few years old. But what it reveals is if you look at
9 the average performance of customers participating in a
10 demand response event, and this is a shed-DR event, what
11 you'll see is that you'll get some good performance
12 there by the average group. But you get some very
13 impressive performance by what we call a sub-group of
14 responders.

15 And what we need to be thinking about is
16 creating that opportunity to harvest value, if you want
17 to be a responder. Not requiring everyone to do it, but
18 giving that opportunity for those who want to play.

19 If you can't have responders like this, getting
20 back to the Lawrence Berkeley Lab Study, shift resource
21 and shape DR resource, which is kind of routinely
22 changing our load shapes in response to prices, be it
23 TOU rates, or other types of information and signaling
24 could, in 2025, if we could shift just 20 percent of
25 load off of the peak in the evening, and the peak ramp,

1 and shift it to line up with solar, we can increase the
2 utilization factor of our renewables from 88 percent to
3 98 percent. Saving the system approximately \$700
4 million a year. This is a 2025 year estimate by LBNL,
5 in their demand response potential study.

6 That's massive value. And that's a lot more
7 value than could be planned for just providing a shed-DR
8 resource. So, we need to think about that routine shape
9 and shift type of DR, which you can achieve with
10 pricing.

11 And then, finally, I'll just close by mentioning
12 that we often think about California's most vulnerable
13 customers and we, indeed, worry about how these
14 customers can be price responsive when moved to a time-
15 of-use regime.

16 On the other hand, we tend to forget that -- if
17 we think about customers in America, this is kind of old
18 data, now. We developed this when we were actually
19 working on cap and trade at the national level. But
20 what this shows is America split up into quintile, the
21 20 percent poorest Americans are in Q-1. The 20 percent
22 richest Americans are in Q-5.

23 And you see household purchasing of high-
24 intensive goods and services, gasoline, utilities, high-
25 energy goods and services, think hamburgers. And what

1 you see is the richest 20 percent of Americans buy three
2 times as much of this stuff as the poorest 20 percent of
3 Americans. Yet, it's only about four percent of the
4 household income.

5 But for our poorest 20 percent of Americans,
6 though these households are buying one-third as much of
7 these goods and services, it's 25 percent of household
8 income.

9 So, if we ask, who's going to be motivated to
10 participate in price-responsive demand response, we
11 shouldn't be leaving our most vulnerable households out
12 of the picture. In fact, we should be asking how do we
13 put these households front and center in the picture and
14 position them to be winners.

15 This doesn't mean a new Tesla in everyone's
16 driveway, obviously. But it does mean that this is the
17 consumer group I want to make sure we're thinking about
18 and we're trying to empower to be winners in a zero-
19 carbon, electrified world.

20 And with that, I thank you for your attention.

21 MR. CRISOSTOMO: Thank you, Jamie.

22 (Applause)

23 MR. CRISOSTOMO: We'll transition to Hannah
24 Goldsmith, from CalETC. We're bringing up your
25 presentation. You are going to be okay.

1 And just a reminder, we'll have ten minutes per
2 presenter.

3 All right, Hannah, take it away.

4 MS. GOLDSMITH: Oh, hi, I'm Hannah Goldsmith.
5 I'm the Deputy Executive Director for the California
6 Electric Transportation Coalition. So, briefly, I'll
7 just say a little bit about CalETC.

8 We're a nonprofit industry association, seeking
9 to advance and accelerate transportation
10 electrification. That's our mission statement up there,
11 as well as a list of all of our members, which you can
12 find on our website.

13 And I will note that in the context of vehicle-
14 grid integration, we have been working with more
15 entities than are listed here. And I'll also note that
16 not everything I say is necessarily an exact
17 representation of every one of our members' views. But
18 it's our CalETC positioning on these topics.

19 So, that's me and my dog, in my electric
20 vehicle.

21 And Noel already mentioned many of these topics
22 here for a policy landscape. But I'll just briefly say
23 this is the primary lens which with, through CalETC
24 views all of these topics is to accelerate
25 transportation electrification and meet these goals

1 here. And that includes getting 5 million zero emission
2 vehicles on California roads by 2030, as well as the
3 necessary infrastructure to reach that goal. And then,
4 also access to zero emission vehicles for disadvantaged,
5 and low- and moderate-income communities. And we also
6 are very active on the medium- and heavy-duty side.
7 And, of course, vehicle-grid integration crosses all of
8 these issues.

9 So, and most recently, the 2018 ZEV Action Plan
10 came out, and that includes many relevant action items
11 for vehicle-grid integration. One of those is updating
12 the VGI Roadmap. So, that's why we're here today.

13 It also includes direction for the IOUs to
14 implement projects to advance transportation
15 electrification in their service territories. And that
16 includes addressing how these investments can enable
17 vehicle-grid integration.

18 It also includes an action to support state- and
19 federally-funded vehicle-grid integration pilots. And
20 I'll note how important this is, as we've many times, I
21 think in this arena, have offered the large-scale pilots
22 and demonstrations are a really key way to prove out
23 these technologies, standards, the value and cost for
24 consumers, as well as the market, and all of the kind of
25 pieces of vehicle-grid integration.

1 And the last bullet there is to explore
2 strategies and rate designs that protect against
3 negative grid impacts and minimize costs. And this is
4 something that CalETC has been active with engaging our
5 members on to look at rate design, and demand charge
6 design, and all of those topics in the context of
7 advancing transportation electrification. And ensuring
8 that electricity, as a fuel, is really cost-competitive
9 or cheaper than gasoline. Because, if it's not, then
10 the picture for consumers to adopt these technologies
11 doesn't look good.

12 So, I'll go ahead and jump right in to policy
13 recommendations. So, at a high level, and Noel already
14 mentioned this, so that's great, but better coordination
15 on the state agency side, as well as market participant
16 coordination. And these aren't siloed, even though
17 they're represented as two different bullets here. But
18 we really believe having all of the state agencies that
19 are in charge of pieces of this VGI picture, as well as
20 any of those that seek to or are in the process of
21 looking at regulating charging stations, or other parts
22 of this puzzle need to be working together, with each
23 other, as well as with the market participants. And
24 that's also from kind of a data sharing and
25 collaboration perspective, as well.

1 And one of the pieces of this, too, is that --
2 at least from CalETC's perspective, we're involved in
3 pretty much every transportation electrification
4 proceeding going on the state. And we're seeing that
5 there are regulations kind of coming at charging
6 stations from different places, so that might mean
7 labeling. That might mean metering accuracy. That
8 might mean inoperability protocols and things like that.
9 And we really need to see the agencies working together
10 to look at this holistically, to ensure that potential
11 costs that could be borne by anyone in the market,
12 especially on charging stations, aren't going to be
13 negatively impacting transportation electrification.

14 The next topic on there is determining VGI value
15 and cost. And so, I won't get into this too much
16 because I know there's an economic panel after this.
17 But we think it's really important to understand this
18 better in order for the market to move forward. And
19 that will help inform all of the policy actions.

20 We also think it's important to prioritize
21 customer experience and value. And without customer
22 engagement and understanding, we're not going to have
23 any VGI opportunities or successes. It's important to
24 include that and we're glad to see that in the update.

25 And the last one on here is to analyze and

1 leverage prior progress and ongoing work relating to
2 vehicle-grid integration, and distributed energy
3 resources. And the reason that's on here is that there
4 has been a lot of work done on distributed -- DERs. And
5 to the extent possible, and appropriate, we don't want
6 to be reinventing the wheel here. We should be building
7 upon those frameworks and lessons learned.

8 Okay, so this was in our comment letter on the
9 matrix. And this just lists out many of the areas
10 within which VIG touch. And we'd like to ensure that
11 the VIG Roadmap update scope includes all of these.
12 That's not to say that any of these are better than
13 others, or that every single area will be ripe for
14 vehicle-grid integration actions. But we think it's
15 important to be looking at the picture broadly, and
16 holistically. I've been using that word a lot.

17 But in order to see EV adoption drastically
18 increase, we increasingly need to manage the electricity
19 usage of EVs as the market grows. And understanding and
20 being able to prioritize the scope of grid impact issues
21 across these sectors listed here, for the different
22 types of vehicles, is an important first step to fame
23 the potential acceptance and ability to move everything
24 forward in these spaces.

25 And we'll note that, you know, user preferences

1 need to be analyzed so that these programs are not
2 designed in a way that could hurt the EV driver's
3 experience or dampen EV uptake.

4 Oh, that's pretty small, sorry. So, we're
5 including some approaches here for consideration. And
6 Jaime mentioned some of these. But time of use and time
7 of day rate design has been a proven, low-cost,
8 effective means of encouraging charging during
9 beneficial times, and getting consumers to charge when
10 we most want them to. It doesn't require any
11 communication system, or expensive hardware
12 requirements, and it's applicable in many applications.

13 And in different service territories, the
14 utilities have received customer feedback on this and
15 have really seen it prove out very well.

16 Demand charge design is also listed here and
17 there are different opportunities for including demand
18 charge design to get consumers to charge the way that we
19 want them to. And that includes time-variant rates,
20 with lower demand charges, demand charge neutralization,
21 which is when the charges do not get separate peak
22 demands, but as long as they stay under the building
23 load, they don't ramp that up higher.

24 Demand charge phase-in, and that's kind of what
25 Southern California Edison will be doing soon, in their

1 approved rates. And that has a period of term where the
2 demand charge is not charged to the consumer, but it's
3 included in a time-variant rate. And then, it's phased
4 back in as the consumer gets more comfortable with how
5 to charge and how to use their fleet in a way that
6 complements grid conditions.

7 And then, there's also an option on here for
8 residential demand charges for some applications. I
9 fully recognize that that is probably not valid in many
10 applications and we wouldn't want to harm any low-
11 income, or moderate, or disadvantaged community folks.
12 But there are some consumers that that might work well
13 for.

14 So, in addition to kind of rate design topics,
15 demand response programs, Jaime mentioned this, too.
16 There have been many successful demand response programs
17 to date and we should encourage continued programs and
18 opportunities for EV drivers to charge in ways that soak
19 up excess renewable capacity, or renewable generation,
20 and not charge during peak times.

21 Another policy suggestion is Low-Carbon Fuel
22 Standard Program design. And so, that was just updated.
23 And effective 2019, there will be incremental credits
24 for smart charging. And this is both a penalty and a
25 reward because it reflects grid conditions and

1 emissions' rates that are happening at different times
2 of the day. So, it encourages charging in a smart way.

3 And then, on here, storage mandate design. So,
4 flexible load shifting and V2G quality, but V1G should
5 also be able to qualify under storage mandate design.

6 And this is my last one. I'm probably running
7 out of time. So, and then, finally, kind of off of the
8 utility side and charging side, you can also design
9 rebates to encourage certain outcomes. And we are
10 seeing this happen now, but it's a good way to kind of
11 get this rolling.

12 We especially think it's important to encourage
13 low cost VGI solutions. And an example of this includes
14 power sharing and sequencing. So, power sharing is when
15 multiple vehicles hook up to the same charging station.
16 And depending on how many vehicles there are, the full
17 capacity of that charging station is divided among those
18 vehicles.

19 And so that, or sequencing, which is -- let's
20 take the same example, multiple vehicles hooked up to
21 the same charging station. The first one fills up and
22 then the power moves to the next vehicle, and on and on.

23 And these are ways that we're seeing that a
24 building can install charging for multiple vehicles,
25 without needing to have any expensive upgrades for

1 capacity, and keeping their overall building load
2 constant.
3 more charging out there.

And so, we

4 And then, finally, as I mentioned previously,
5 large-scale pilots and demonstrations are very important
6 to prove out vehicle-grid integration opportunities,
7 communications, effectiveness, value and cost.

8 And that's it, thank you.

9 (Applause)

10 MR. CRISOSTOMO: Thank you, Hannah.

11 And then, next, Jeremy Whaling from American
12 Honda Motors. I'll give you a signal around nine
13 minutes, Jeremy.

14 MR. WHALING: Sure. Okay. So, this is going to
15 be a little bit of an eye chart here, since I don't have
16 a big enough poster. But, originally, we made this sort
17 of roadmap that kind of highlights where I think we need
18 to get to in order to really meet California's goals.

19 And what I'll be doing is actually just kind of
20 going through it. So, you won't have to necessarily
21 read every little sign right here. But what you can see
22 from here is there's a lot of different pathways, a
23 couple of scenic routes, and a nice, little Honda
24 dealership with stuff on it, and then some other stuff
25 around there.

1 And so, we'll go through it real quick. So, at
2 the start here, we're looking at V1G markets. And so,
3 currently, with the markets that we have today, for
4 things like demand response, they're really built on the
5 framework for traditional demand response, like air
6 conditioning and stuff like that.

7 And Honda has Honda Smart Charge, which is a
8 small program to, you know, have vehicles bid into the
9 grid and be grid resources. And so, we're trying to fit
10 them into this market and what we're finding is electric
11 vehicle charging's actually -- it's more flexible than
12 the market is giving it credit for.

13 So, we have sort of this flexibility where we
14 can charge at any time throughout the night but,
15 basically, the market really wants us to see consistent
16 charging at a certain time, and then on the day of the
17 event we move the charging to a different time.

18 And actually, the most lucrative right now is
19 actually to charge on peak and then be paid to move off
20 peak. So, that's not going to scale really well.
21 That's not really encouraging. That's not good for the
22 grid. So, we need to do a little bit more than that.

23 You know, the baseline metrics and stuff like
24 that, it's a good start, but I think we need to improve
25 it and, you know, pay for more of the flexibility of

1 what we can do here.

2 And the next thing on our roadmap here is
3 submetering from vehicle. So, what we've found, too, is
4 that with using, you know, the traditional markets and
5 everything right now is you're still bundled with the
6 house load, or the building load, or the site load and
7 that means that the site -- if the site load, or the
8 building load, or the house load does something, but the
9 car did respond then, you know, you may end up wiping
10 out what the car response is and basically you come back
11 and say, ah, you didn't respond, even though we know the
12 car did.

13 And so, we need submetering from the vehicle or
14 using vehicle data to do that. It really makes it clear
15 that, yes, the vehicle responded and it did do what we
16 needed it to do and, you know, regardless of what the
17 site load does.

18 So, then, from there we get to controlled one-
19 way charging or smart charging. It's not currently
20 recognized the same way that stationary battery storage
21 is. There's no mandate for procuring it, much like
22 storage is. V2G services can be lumped into storage,
23 but not V1G. And we think there's a big potential to
24 use a lot of V1G, primarily because it can be a very
25 inexpensive resource. So, we have this opportunity to

1 use a very inexpensive resource to supplement what could
2 be a very expensive resource.

3 So, you know, the major capital cost there is
4 really more of soft costs in terms of getting the
5 customer and, you know, setting up the backend system,
6 and being able to send a control signal to either the
7 station or to the vehicle. So, there's not a lot of
8 like -- you know, you're not buying, you know, gigantic
9 batteries and siting that, and interconnecting that, and
10 stuff like that. So, this is a low-cost solution, but
11 it needs to be recognized.

12 So, from there we get into multiple DR program
13 participation. So right now, with doing smart charging
14 we've had -- we've seen that the customers that we sort
15 of acquire are early-adopter customers that kind of
16 already -- you know, a lot of them are in demand
17 response programs with either the utility, or
18 OhmConnect, or various other programs. And because they
19 know that system and they know like, oh, there's these
20 rebates and things, they see smart charge and they go,
21 oh, I can do this with my car now. Finally. Awesome.
22 Let's do that. And then, we find they have a conflict
23 and we can't have dual program enrollment at the same
24 time. So, that's definitely a problem.

25 So, there's a couple different things. We

1 should be able to participate in both. It would be very
2 nice. And I think at first you go, well, you don't want
3 to double dip. But you do have systems where it's like
4 your air conditioning demand response is typically, you
5 know, 2:00 to 5:00, 6:00, 7:00 p.m. And EV charging,
6 smart charging could be, you know, middle of the night
7 and stuff like that. But in general, you know, we need
8 to kind of work with this and be able to do multiple
9 programs. Because we've got a lot of adopters that they
10 already kind of are familiar with some of this stuff and
11 they're some of our biggest advocates, and so we need to
12 get them on board.

13 So, onward to V2G. So, first of all, we'll
14 notice our little V1G rest area. So, you do all those
15 things. We'll get a nice V1G system, it's great, but we
16 need to do more. We need to get to V2G. And so, we'll
17 continue onward to our V2G stuff.

18 So, one of the big things, too, here is
19 regardless of technology there is going to be -- for
20 V2G, you're going to need an interconnection permit.
21 And so, you're going to need, you know, a generation
22 type system, and you've got all the stuff associated.
23 Essentially, similar to what, you know, a solar
24 interconnection permit is needed.

25 Sometimes this can take a quite a while. And

1 we've noticed with our V1G programs is if you have
2 anything where there's a delay, or you need to wait for
3 a little while, early adopters hate waiting. You know,
4 they want this stuff now. In general, you know, folks
5 really want to be able to -- you know, if it's a feature
6 of the vehicle, they want to be able to use that feature
7 as soon as they can.

8 So, we need to consider things like a type
9 certification, you know, based upon this sort of vehicle
10 is certified and it's able to be interconnected anywhere
11 in the system. Or, you know, barrier-free pathways.
12 You know, I'll let you figure out the details, but there
13 needs to be some stuff there.

14 Okay, so the next one, Rule 21 includes vehicle
15 standards. So, currently, Rule 21 lists UL 1741 for
16 inverters. However, UL doesn't apply to automobiles.
17 That standard includes things like, you know, access,
18 and clearances, and labeling, and everything that it
19 just doesn't apply to vehicles. And so, UL 1741 isn't
20 quite compatible with vehicle standards are set to.

21 So, we have the Society of Automotive Engineers
22 has a standard for bidirectional charging, with onboard
23 inverters, J3072. So, what we basically kind of need is
24 a tweak that allows us to either list J3072 as an
25 acceptable safety performance standard, or we could go

1 and Rule 21 could specify IEEE1547, which the onboard
2 inverters in cars are also certified to. So, we could
3 kind of do that.

4 There's a couple different ways to approach this
5 but, basically, we need to allow some of the standards
6 to allow onboard inverters.

7 We also -- we see a lot of cost reduction in AC
8 onboard inverters, but we definitely need that in order
9 for that to occur.

10 Also, the interconnection rules dictate the type
11 of inverter and generation source. You know, the
12 generation source for a car, depending upon where it's
13 charged it's going to be all over the place. So, we
14 kind of need to change to sort of a power-based system
15 and not the specific model of the inverter.

16 As well, you know, if you have, say, a workplace
17 that has bidirectional charging capability with that
18 stuff, you may have vehicles, different models of
19 vehicles that are plugging in and they have onboard
20 inverters. You have all kinds of different cars at
21 different times, so you really need to certify more of
22 that site, that charging station. But either way,
23 power-based, so that way it's kind of equipment
24 agnostic.

25 I've got some final comments. Honda believes

1 the auto industry is technically prepared. We're
2 definitely -- you know, we've got the technology to do
3 this. But as you've seen, there's quite a bit of
4 different little hoops to get through to get, I think,
5 to a widescale adoption, what we really want to see in
6 the future.

7 So, all the state agencies, CEC and others, can
8 help, you know, with a couple of different things.
9 We've got some vehicle incentives. Until sufficient
10 market-based value can be generated, we can have some
11 vehicle-level incentives to reduce the risk to OEMs
12 installing the hardware onboard the vehicles.

13 Essentially, the OEMs are looking many years
14 out. And if it's not like a defined business case now,
15 it's hard to justify including the onboard inverter.
16 But if we know the business case is there, it makes a
17 lot of sense to do it. So, if we have some incentives
18 and some clear pathways there, it will make a lot of
19 sense.

20 EVSE development. We need some more stuff
21 around that for J3072-based EVSE, necessary for AC-sited
22 vehicle to grid. So, estimate \$500 per EVSE deployed
23 might be good. But there's also some direct development
24 funding. We're not EVSE makers, so it's kind of up to
25 them what they think is base. But there's definitely

1 something that should be done there.

2 And also, V1G and V2G market development. As I
3 saw early on, you know, there's a couple different
4 things where the markets are not quite tuned for what
5 the vehicles are capable of doing, so we kind of need
6 some changes there.

7 And then, interconnection support. Definitely
8 amend Rule 21 to enable V2G with onboard inverters.
9 There needs -- okay. There needs to be full support to
10 remove these barriers, so there's a lot of work to do.
11 That's it.

12 MR. CRISOSTOMO: Thanks, Jeremy. Thanks.

13 (Applause)

14 MR. CRISOSTOMO: And lastly, before getting into
15 some moderator discussion, David Schlosberg from
16 eMotorWerks.

17 MR. SCHLOSBERG: Thanks, Noel. And, you know,
18 thanks for inviting us here today to participate on the
19 panel. You know, vehicle-grid integration is pretty
20 much the reason eMotorWerks exists. Our founder, after
21 he decided to stop retrofitting BMWs to make them all
22 electric, he thought we needed some charging stations to
23 charge these electric vehicles when they started to
24 arrive on the scene and realized pretty quickly that all
25 these charging systems connected to the internet, and

1 controllable, could be a pretty powerful tool to
2 eliminate and reduce carbon on our grids.

3 So, he was probably a few years advanced of this
4 panel, and this workshop, and this matrix. But that's
5 kind of why we're on the panel today.

6 So, just a little bit about eMotorWerks, for
7 those of you who don't know us. We manufacture and sell
8 smart EV charging stations for the home, and for
9 businesses, and for fleets. We've sold over 35,000
10 charging stations worldwide. But the nature of the EV
11 business is more than half of those are in California.

12 About a year ago, almost to the day, we were
13 acquired by Enel, which is the national utility of
14 Italy, and a global energy company. They were -- sort
15 of see the issue around vehicle-grid integration very
16 acutely because they're one of the largest owners of
17 renewable generation in the world.

18 And so, after they -- or, as they continue to
19 build up over 40 gigawatts of renewable power, solar,
20 wind, geothermal, hydro, they realized that the demand
21 side of the grid is going to become a pretty important
22 component for making all of this work, and also pretty
23 important to their financial future.

24 And so, they acquired eMotorWerks, along with
25 other behind-the-meter distributed energy resource

1 companies. They acquired ourselves, as well as EnerNOC
2 and Demand Energy, on the conventional, traditional
3 demand response and the behind-the-meter energy storage
4 world, and put us all together in a group called Enel X.

5 So, that's really how do we get at using the
6 demand side to integrate our renewal energy future,
7 which seems to be the underpinning of a lot of what
8 we're talking about here today.

9 And so, that's really, as I said, the express
10 reason why we put chargers out in the world. We want to
11 put them out into the world to reduce greenhouse gas
12 emissions by working with our partners, and utilities,
13 and grid operators to time that charging to when it's
14 cheapest and cleanest.

15 And we really started putting this into action
16 quite a bit ago. So, at the end of 2015, we started
17 working with an entity called WattTime, which is now a
18 subsidiary of Rocky Mountain Institute, to actually work
19 with customers who pay us to make their charging smart
20 and reduce greenhouse gas emissions. So, it's a very
21 different dynamic when we think about demand response
22 and the way we typically get customers to engage in
23 making themselves grid assets, we think we need to pay
24 them.

25 There are a subset of customers, and I don't

1 claim that it's everyone, but a subset of customers who
2 want to do more for the grid, or do more for the
3 environment, and so the money goes the other direction.

4 We actually need to figure out how do we
5 customer segment? How do we work with customers and
6 meet them where they are to be grid resources, and do it
7 all in a way that's cost effective and makes sense?

8 And so, we've kind of marched along and advanced
9 upon that. But I just wanted to give you that data
10 point that we need to think about things slightly
11 differently, potentially.

12 So, I mentioned what Enel X is. They are four
13 pillars. We're part of E-Mobility. But E-Industries is
14 where you find demand response in the energy storage
15 world of things. But also, it's more holistic, so we
16 think about the home as a whole, as well as the cities.
17 And when you think about EV charging, it becomes an E-
18 City conversation pretty quickly.

19 So, I don't think I'm too unique in referencing
20 SB 100, and the 5 million ZEV Executive Order. But I
21 think the question is, you know, how far off on the
22 horizon do we need to start thinking about these things?

23 And our contention is if we just focus on the 5
24 million EVs, if we just focus on the carbon-free future,
25 and we don't put these things together, we'll be quickly

1 behind the 8-ball commercially, definitely from a
2 regulatory standpoint. Such that it will be much more
3 difficult and more expensive to go back and get these
4 vehicles grid integrated.

5 So, what do we need to do? I don't think I'm
6 unique in having pictures of children, and pets, and
7 things related to EVs. But that's actually my Bolt and
8 there are 12 preschoolers in it. So, it's actually
9 pretty roomy. And I did a little education session with
10 my son's preschool class. And now, you know, they know
11 gasoline and electric vehicles are good because they run
12 on wind and the moon, apparently.

13 And, you know, I think these things are
14 generational. But we need to do a lot of things right
15 now to make electric vehicles grid integrated, as I like
16 to say, off the lot. And we need to think about things
17 in a slightly different manner that when -- I think, you
18 know, if you realize that there are people who are
19 looking for ways to become cleaner, they're looking for
20 ways to become -- I wouldn't say grid integrated, but
21 environmentally sensitive, they understand that there's
22 a bit of a compact of when you get an electric vehicle
23 what that means.

24 And so, having the mindset of when you go
25 electric, you're going VGI. I think people have a

1 mindset of I think I'm supposed to call my utility and
2 find out if there's a better rate plan for me. So,
3 there's already a bit of a connection.

4 And I think that the utilities are thinking very
5 hard about how do they become that education source?
6 How do they become the trusted advisor? And it can go
7 farther than what we have EVA.

8 And I'll just make a note here. In our world,
9 when people buy one of our charging stations, our Level
10 2 charging stations from our website, and they're in a
11 place in California where we're doing smart charging, 30
12 percent of customers go ahead and sign up for our Smart
13 Charging Program, now. But because of some things
14 Jeremy mentioned, not all of them can get to the last
15 stage of participating. But it's a pretty good sign
16 that people are motivated by something.

17 Now, what that something is, I think we need to
18 think about. And when the time comes to getting
19 vehicle-grid integration, my contention is that whether
20 you're of modest means or you're buying your Tesla, or
21 you're of modest means, but you're still getting a Model
22 3, somehow, you want to save money as soon as you make
23 that investment. And you probably don't know how much
24 it's going to cost to charge your car, to fuel your car,
25 so anything you can do to save money on an absolute

1 basis is good. And certainly, you'd like to think that
2 you're saving money versus gasoline.

3 And so, participating in smart charging, in the
4 case that you are getting paid for that work, is pretty
5 important even if people don't know precisely how much
6 it's worth.

7 So, I don't think that this is news to anyone.
8 But, you know, we focus today most specifically on smart
9 EV charging, or V1G. And it has economic, reliable, and
10 environmental benefits. And this room doesn't need to
11 be told, but pretty much everyone outside this room
12 needs to be told that does not require taking
13 electricity out of your car and putting it back onto the
14 grid. But it can be highly reliable, quite efficient in
15 terms of the way our grids are constructed today, and
16 also cost effective.

17 And so, I think many of the people in this room
18 are familiar with LBNL study that says at a 50-percent
19 RPS, we could use V1G smart charging to integrate
20 renewables at a cost reduction of 1.3 to 1.6 billion
21 dollars, compared to just using stationary energy
22 storage. And they even break up what different value,
23 different capabilities that V1G resource could provide.

24 So, in my world, so I like to say I do policy on
25 nights and weekends, but during the day I actually

1 operate our resources in the wholesale market. We
2 actually bid, and participate, and dispatch customers
3 into the wholesale market through Rule 24 and Rule 32.

4 Now, that load reduction could be recognized
5 from any resource in the home, but we only control the
6 EVs.

7 So, this is actually the week of July 23rd
8 through the 27th, where we had three days of flex alerts
9 on the CAISO grid, as well as the other days being no
10 maintenance days.

11 And you can see in the gray is -- this is the
12 Edison West Zone, where we have a bunch of EVs and EV
13 chargers that participate with us. You can see in the
14 gray is the typical load profile of the EVs. Just the
15 EVs, not the whole home. And you can see the price
16 overlay and the shift that we achieved during those days
17 at the direction of the CAISO. They issue a market
18 award and then we go about the work of shifting that EV
19 charging.

20 You know, we have days where, you know, at
21 certain hours of the day we were hitting the price cap
22 in the day-ahead market, which is not that common. We
23 saw that all of our resources across the state, so every
24 PDR that we operate, proxy demand resource, was called
25 for pretty much every hour of the day that we bid it.

1 And bid, and operated, and dispatched for multiple
2 hours. And we were able to, you know, control that load
3 and shift it out to pretty much the end of the price
4 curve every day.

5 And this is emblematic of August as a whole, and
6 every month, but we quoted some stats in a Green Tech
7 Media article about our virtual battery that in August,
8 alone, we were dispatched 974 unique hours across --
9 that's an aggregate of across all of our virtual
10 batteries in the state, on an average of three and a
11 half hours per day. And the price ranged from \$30 to
12 \$480 a megawatt hour. But on average, about \$50 a
13 megawatt hour.

14 So, this is -- you know, you think about demand
15 response and you think about resources that don't want
16 to be called very much. They bid pretty high, pretty
17 high in the price curve. And, you know, vehicles,
18 especially in certain charging scenarios, are highly
19 flexible and are more than willing to be curtailed or
20 shifted at very low prices.

21 And so, how do we use that very -- on a granular
22 basis, very frequently, and highly articulated to
23 integrate our renewable future? I think that that gives
24 you an idea of where this could go because this resource
25 wants to be operated a lot more frequently, like a

1 battery does, than our traditional forms of demand side
2 management.

3 So, where do we need to go? We need to do some
4 back flips. I don't think those are electric vehicles
5 in this picture. But, you know, what I think we should
6 call for is really a market transformation initiative
7 for VGI in the state. I don't think, fundamentally, we
8 understand of the state to get the most -- yet, how to
9 get the most out of this resource.

10 So, what do we need to learn? We need to learn
11 what we need to do. What do we procure? What
12 reliability and economic products should be procured and
13 on what level? How do we do it? What are the
14 contracting mechanisms? That could take the form of a
15 pro forma, but maybe it takes just the form of market
16 mechanisms.

17 Learning about when these charging resources are
18 available and where they're available. You know, the
19 Honda program is quite unique because they're following
20 their customers everywhere they go and doing smart
21 charging wherever they go. You know, except for my work
22 with Honda, we only pretty much work with people at the
23 home because smart charging outside of the home is
24 pretty difficult, especially if you're trying to
25 integrate into the wholesale market. The opportunities

1 are more limited until we get more load shift and more
2 activity in the daytime market.

3 So, I think this is, you know, a ripe
4 conversation for how we transform the market, and
5 looking to work with the CEC to lay that out a little
6 bit.

7 (Applause)

8 MR. CRISOSTOMO: Thanks, everyone.

9 Eli, if you could just put the names up? Or, I
10 guess, the first five questions that we have for the
11 Policy Panel, to keep everyone's mind -- yeah, to them,
12 and the audience as well.

13 These were great perspectives from environmental
14 advocates and different market players that kind of work
15 together in a chain of events to do and actuate the
16 smart charging.

17 And so, as we think about kind of market
18 planning, procurement options, liberating value to allow
19 automakers, charging providers, and utilities to work
20 together, I noticed some variation in what low-cost
21 meant. And so, Honda, you mentioned about the, roughly
22 \$500 per EVSE would be necessary to enable V2G, which is
23 a great thing to hear from an automaker wanting to push
24 that bidirectional solution that's beneficial to the
25 customer and to the grid.

1 David, you mentioned that eMotorWerks started to
2 create their own chargers. So, you know very well the
3 cost to actuate the Wi-Fi, and smart controls, to
4 develop apps. It's interesting to hear that
5 perspective.

6 And then, Hannah, you're focusing on how rate
7 design and new incentives could be created at the
8 utility level to offer that in the context of Jaime's
9 comments, which were the need to create highly granular,
10 location -- locationally, and dynamic -- locationally
11 and temporally dynamic offerings.

12 And so, it seems like there's a little bit of a
13 diversity of what needs to be pursued and what can be
14 economically pursued.

15 So, I want to hear everyone's quick thoughts on
16 what should we be designing for? Should we be skating
17 to the puck, where the puck is, or where is it headed?
18 How do we kind of come together to make sure everything
19 works simply and in an interconnected fashion?

20 MR. WHALING: So, I think the short answer is I
21 think we need to get to vehicle-to-grid in order to
22 maximize renewable energy and to reduce other carbon
23 sources on the grid as fast as possible. So, I think
24 that's like that should be our ultimate goal.

25 Also, you have to, then, take into account the

1 costs of doing that and, basically, the lowest -- try
2 and attempt to do it in the lowest cost possible.

3 So, however you want to do that it's, you know,
4 sort of up to the policymakers and stuff like that.
5 But, you know, I think what gets me is that, oh, we had
6 the GHG increased in transportation. I think that when
7 you have something like vehicle-to-grid, and you're able
8 to not only displace, you know, what was gasoline
9 emissions of the vehicle, but also displace some of the
10 grid emissions, that's really -- that's huge. I think
11 that's an amazing thing to do.

12 And it looks to be, you know, that's going to
13 also be an economic thing to do. So, I definitely want
14 to see that.

15 MR. CRISOSTOMO: Hannah?

16 MS. GOLDSMITH: Yeah, I think in order to really
17 get to VGI or V2G at scale, we really need more vehicles
18 and more charging first. And that's why our priority is
19 always around, you know, rebates and funding, and
20 getting the policies in place to ensure that there are
21 going to be charging stations where drivers need them,
22 and all those things.

23 And that's not at odds with what you're trying
24 to do. You know, it's complementary to it because we
25 need to get to the point in the market where there are

1 more electric vehicles that are able to charge, and soak
2 up renewable energy, and we're relying less on fossil
3 fuels, and less pollution.

4 But I think in terms of the lowest cost options,
5 we have seen that a lot of the V1G solutions are very
6 effective. And making sure that consumers are aware of
7 the vehicles in the first place and then, after they
8 know about the benefits of driving electric, kind of get
9 more into how to charge their vehicle, and how to save
10 money even more is kind of the next step there. And
11 rate design is very important to that. But there's
12 probably more that we can do to really ensure that folks
13 are signing up for those or, in the future, we're just
14 going to see that everyone will be potentially on those
15 rates, anyway. And so, that will help shift this and
16 ensure that folks are using energy when they need to,
17 and not using it when they shouldn't be.

18 But we do have to keep in mind there that folks,
19 where you're using your car, it's not always the same as
20 choosing when to run the load of laundry and you might
21 need to be charging at inopportune times. But it still
22 needs to be accessible to everyone and it still needs to
23 be affordable.

24 MR. CRISOSTOMO: David, I'm hoping you can
25 provide some perspective on how solutions can be

1 customer-oriented, mobility-focused, and the design of
2 charging equipment.

3 MR. SCHLOSBERG: Yeah, it's not a terribly
4 difficult undertaking to have an aggregation of charging
5 resources that have a predictability to them that
6 incorporate the expectation that the Wi-Fi is out or
7 that the customer -- that there's a set of customers who
8 are just going to opt out. There's just always going to
9 be 10 percent opt-outs, or whatever that is.

10 And so, you know, the individual customer should
11 ultimately, always have control over their charging.
12 And if their mobility requires them the charge so they
13 can go to the Warrior's game, you know, that night,
14 they're going to do it and that should be fine. And
15 that the service providers and the utilities can be
16 planning for that.

17 I guess you were saying, you know, where do we
18 skate towards? You know, there's a question of do we
19 skate towards V2G and not work a lot on V1G. I think
20 there's just a ton of work to be done on V1G that has
21 not been done as of yet. And the reality is we're going
22 to have a legacy of a lot of vehicles out in the field,
23 a lot of chargers out in the field that are just not
24 going to be bidirectional and so how do we get the most
25 out of them?

1 I think the other interesting area is we -- you
2 know, we see acutely and I'm assuming the utilities see
3 it, but they don't quite admit it from the distribution
4 operations stand point, yet, but these EVs are
5 concentrating in neighborhoods in a very aggressive way.
6 And that's going to have some issues around how the
7 distribution grid operates at some point. And, you
8 know, there's a question of is that two years, three
9 years, or ten years from now that that's going to have a
10 major concern.

11 And, you know, the way that we're setting up
12 time-of-use rates are going to have some adverse effects
13 when that starts to bind.

14 And it's interesting, we have some conversations
15 in Hawaii, who's obviously thinking about 2045 in an
16 earlier time frame, and they don't even really like
17 time-of-use rates. They would like to be working with
18 service providers and technologies to basically shape
19 the load exactly as it needs to for that day. And
20 granted, it's an island grid and the weather that
21 affects their solar and their wind could be more acute.

22 But it kind of gives you a sense of we need
23 something that's that dynamic. And I don't think that
24 they would claim that they have the customer education
25 and behaviors in place to really do that at scale, yet.

1 But they're realizing we have to start on that now, and
2 we have to have the technologies in place so that we can
3 shape the load from what's going to be a large source of
4 demand sooner than later.

5 MR. CRISOSTOMO: Before turning it to the
6 audience to provide their own policy actions for the
7 roadmap, I want to kind of ask Jaime to elaborate on a
8 point around if we think to 2045, 2050 what the utility
9 model of the future is. If all of our cars can do V2G,
10 can offer kind of transactive charging services where we
11 have, say, FreeWire's original vision to have autonomous
12 Mobis going around giving infrastructure services in a
13 way that avoids a lot of grid upgrades what changes need
14 to be made to the regulatory and policy models to allow
15 for that innovation to occur?

16 MR. FINE: Thanks for asking. Well, you've
17 asked a big question. So, I'll give kind of a starting
18 point version of the answer.

19 So, the one thing that I'll point out is that
20 when I say we want to open the door for utilities to
21 earn fees for providing services to optimizing
22 distributed energy resources, including EVs, it doesn't
23 mean we're completely eliminating the rate of return
24 revenue model.

25 So, when we think about what could a utility

1 accomplish in terms of revenues, let me take you back to
2 four years ago, where I spent four days sequestered with
3 a California utility, an EV innovator from California, a
4 microgrid solutions provider, and a large social media
5 company. And the question was, the utility posed, we
6 could put batteries on our side of the customer's meter,
7 but we think customers are bringing their own batteries.
8 What can we do to earn some money from that?

9 And the answer was, well, there's a variety of
10 services you could provide to that battery. And that
11 battery may or may not be on wheels. And so, we
12 suggested you could earn fees, for example, for
13 scheduling that resource into the wholesale markets.
14 You could earn rate of return for running the wires and
15 the balance of the system to connect that technology.
16 You could get services for operation and maintenance of
17 the battery and the other appliances.

18 And then, ultimately, we said you need a good
19 rate design. But the kind of punchline was, but you
20 also don't need to require any technology. And what we
21 mean by that is you can actually look at performance
22 from your side of the customer's meter and not worry so
23 much about how the customer's achieving that
24 performance, and let the customer decide what
25 combinations of technologies and practices they want to

1 deploy. And if you put an EV in the driveway, that
2 creates a whole lot of additional opportunity to manage
3 your load.

4 So, it's an additive capability when you start
5 adding EVs to an already efficient, smart home. So,
6 that's kind of one element.

7 The other thing I want to raise is the issue of
8 the distribution system. So, our California utilities
9 make the biggest chunk of their shareholder rewards from
10 distribution system investments and that's been the name
11 of the game for years. Like, over three-quarters of
12 shareholder rewards come from distribution system
13 investments.

14 So, to inspire the utilities to find an
15 alternative to that, we need two types of planning
16 processes. One that we have a distribution node that's
17 already being challenged by the growth of DERs on the
18 grid. And then, another distribution node where those
19 DERs are not yet there.

20 And in the context where we have DERs
21 challenging the grid, we have concepts like the IDER
22 Incentive Pilot that we're testing in California, where
23 we want to incent the utility to solve distribution
24 needs and get a rate of return for it.

25 But in the neighboring substation, where there

1 isn't yet a challenge, we need longer term planning and
2 we need pricing that inspires that part of the node to
3 evolve with smart DERs, such that you're not in a
4 situation where you have to make a major distribution
5 system upgrade. So, the value is in avoiding these
6 upgrades.

7 An example you might want to look at is the
8 Brooklyn-Queens development project, out in Long Island,
9 where the utility was looking at a \$1.2 billion
10 substation upgrade. They've been able to push off that
11 upgrade to 2026 by inspiring and incenting DER solutions
12 on the customer side of the meter, but it's only pushing
13 off the problem. And at the same time, no one's talking
14 about the neighboring substations. And that's where we
15 need to solve problems before they become \$1.2 billion
16 threats.

17 So, I hope that answers the question.

18 MR. CRISOSTOMO: Yeah, it also provides some
19 good context for the audience members to build upon.
20 So, I know we have a little under 20 minutes and two
21 roaming mics, and I'm sure people are chomping at the
22 bit. So, let's open that opportunity now.

23 And thank you for our panelists and your
24 contributions.

25 MS. PIERO: Hi. Can you hear me? Okay. I'm

1 curious about the --

2 MR. CRISOSTOMO: If you could introduce yourself
3 and organization?

4 MS. PIERO: Sorry. Yeah, I am Jacque Piero,
5 from Nuvve. And I definitely agree V1G and V2G are both
6 parts of this roadmap, you know, that comprises the
7 vehicle grid integration definition.

8 But I'm curious how V1G can end up being used or
9 accepted as a storage resource in terms of, you know, a
10 mandate? Does it meet regulatory definitions of storage
11 or is it more a flexibility resource. So, I'm curious
12 how you get there from here, to have V1G be actually a
13 storage resource.

14 MR. CRISOSTOMO: So, during my time at the CPUC,
15 Commissioner Peterman had a rulemaking on storage, in
16 which various technologies were defined to be eligible.
17 And so, V2G, particularly the Los Angeles Air Force
18 Base's project, implementing fleet management there was
19 seen as a storage device.

20 But I know there is ongoing advocacy in favor of
21 one-way charging, just absorption of energy as a storage
22 device, without providing that bidirectional service.
23 And so, it could be as simple as some of the proponents
24 are suggesting, as an inclusion in terms of the eligible
25 technologies. But, yeah, I'm not sure if you guys want

1 to add to that.

2 MR. SCHLOSBERG: Yeah, I mean it might be
3 academic until we change our goals on how much storage
4 we're going to buy through one sort of mechanism, right,
5 because there's only one more procurement left and
6 there's been a lot of storage procured outside of that
7 structure.

8 I mean, I think, you know, energy storage is the
9 movement of time or place, you know, those electrons.
10 And so, it is very definitional at the CPUC. I think
11 some people might have spoken about that, actually,
12 maybe two of the panelists.

13 I think what's more important is something
14 changed after we had the Energy Storage Mandate, and we
15 figured out how to buy energy storage and we figured out
16 what to use it for. I'm not sure that that exact same
17 rubric is going to answer how we buy flexibility
18 services from V1G or V2G.

19 So, my thought is, and our thought is we need
20 market transformation some way. And how we get it, I
21 think is an ongoing discussion.

22 MR. FINE: You know, I'll just answer this
23 question in a somewhat different way, and thinking back
24 on the prior question you asked me. There's kind of a
25 risk-reward situation we need to be thinking about, and

1 when we think about what is V1G and who gets paid for
2 it.

3 Let's think about an example of, say, smart
4 thermostats where, in some jurisdictions, when you buy
5 your fancy, smart thermostat, the utility gives you a
6 rebate at the point of purchase. And the utility's
7 doing that because they're saying we're going to take on
8 the risk of harvesting the value as using this device as
9 a demand response service, and we think it's worth \$75.
10 So, we're going to go ahead and advance pay that for
11 you.

12 That flips the risk-reward situation, right?
13 Maybe the utility could get \$90 of value out of that and
14 they've paid the customer only \$75. But the customer
15 doesn't really, necessarily, have to do anything and
16 their technology's already cheaper.

17 So, if we think about risk-reward in the context
18 of V1G, at one level you can say we're going to roll
19 these cars off the lot and we're going to have them
20 preset to charge at certain times. And we think with
21 that default, we're going to get a certain type of
22 performance. And we're going to prepay that performance
23 in the form of maybe the purchase price of the vehicle.
24 Maybe you're prepaying the customer to be enrolled in a
25 demand response program and the utility's making a deal

1 with Honda to harvest that value at the outset.

2 Again, who's taking on the risk and who's
3 getting the rewards? There's a variety of ways we could
4 think about that in the V1G context.

5 In a real-time pricing world, you're getting
6 rewarded because you're responding to price. And then,
7 I would also say from the long-term planning
8 perspective, the proof is in the pudding.

9 You can see the behavior. I remember a San
10 Diego Gas & Electric presentation that's probably five
11 years old, now, customers will respond to time-of-use
12 rates. They charge off peak. We're learning that. How
13 many times in a row do we have to see it happen to
14 believe it, right? The proof's in the pudding.

15 MR. CRISOSTOMO: So, I want to emphasize that
16 stakeholders can respond to that and not necessarily ask
17 panelists questions. So, if they have ideas on any of
18 those four, please offer them because we are taking
19 these into consideration for the actions update.

20 MR. ASHLEY: So, Tom, with Greenlots. I'll take
21 you up on that, Noel. So, just wanted to reinforce a
22 couple messages that were offered, one by David and one
23 by Jaime.

24 So, one, David mentioned that, you know, we're
25 starting to see more rate design related to managing EV

1 charging, or thinking about how to integrate EV
2 charging. And, indeed, sort of a lot of the first
3 efforts are varying degrees of blunt TOU approaches,
4 which may be perfectly appropriate in many service
5 territories at the scale of EV charging that we're
6 looking at currently. But maybe, wholly inappropriate
7 in other service territories or at greater scales into
8 the future.

9 And I would just note that Greenlots has been
10 messaging, fairly aggressively, in a lot of different
11 jurisdictions for a technology-based approach. And I
12 would just acknowledge that there's been quite a range
13 of receptiveness to this message. And I think there's a
14 real opportunity for California to provide strong
15 leadership in this area.

16 The other, I wanted to follow up on something
17 that Jaime mentioned. So, it's a flavor that we're
18 seeing here in California right now, maybe seeing more
19 aggressively in other jurisdictions, Hawaii for example,
20 which is pressure to move away from compensating the
21 utilities in maybe the traditional manner. And I think
22 there's a lot of opportunity to think about how we want
23 to do this in the context of managed EV charging.

24 I'm not advocating for evolving how we're
25 compensating utilities, but recognizing that this is

1 happening I think it's an opportunity, again, for
2 California not necessarily to develop a new technology,
3 but to be on the front end of identifying the
4 opportunities for taking different approaches to getting
5 the results that I think we're all trying to accomplish
6 here.

7 So, happy to answer any question, but I'll give
8 it over to the rest of the audience.

9 MR. SCHLOSBERG: Yeah, I think we should
10 recognize some of the work that San Diego is doing with
11 performance-based incentives around the residential
12 charging program.

13 You know, given who we are, we tried at
14 different points in time to make -- to encourage San
15 Diego to go even farther, to think about VGI in a more
16 advanced manner. So, I think we're going to get a lot
17 of off-peak and super-off-peak charging out of that
18 program if it goes forward, but there's probably even
19 more that can be done.

20 So, hopefully, there will be an opportunity
21 after we get the deployment of tens of thousands of
22 chargers, and EVs through that program to really think
23 about, well, how do we help utilities really keep going
24 farther on VGI? And maybe this roadmap and maybe some
25 more focused work on what do we want to procure from EVs

1 could come from that.

2 But I see we are seeing some innovative
3 compensation structures for utilities.

4 MR. CRISOSTOMO: Matt Tisdale.

5 MR. TISDALE: Thanks, Noel. I wanted to double
6 down on Noel's question about skating to the puck. Not
7 where it is in the moment, but where we expect it to be
8 in the future.

9 And my question is really about what your
10 expectations are for the future grid needs, for the
11 future grid challenges, and trying to think about what
12 your expectations are in that context, and how they
13 align with your current incentives.

14 Are you expecting a future of grid challenges
15 that is diametrically different from what you're being
16 asked to do right now?

17 Or, are the incentives that you're currently
18 receiving and the signals that you're currently
19 receiving roughly in line for what you expect for the
20 grid of the future?

21 So, I'm leaving the grid-of-the-future question
22 a little bit open because I'm also kind of curious to
23 see what your understanding is of what is the needs of
24 the grid of the future? How well is the State of
25 California communicating to use problem solvers what it

1 needs five and ten years from now?

2 MR. WHALING: I love talking about the future,
3 so I'm going to take it. So, one of the things,
4 actually, just to go back a little bit, so we mentioned
5 that the original roadmap was about four years ago, and
6 so now, we're working on it again.

7 And I kind of thought to myself, well, what
8 about four years from now, what's going to be
9 substantially different? And I just kind of wrote down
10 three things. So, I wrote down bigger BEVs, autonomous
11 vehicles that are primarily autonomous. And more
12 medium- and heavy-duty space. So, I think --

13 (Off-mic question)

14 MR. WHALING: Both. Yeah, that's actually --
15 that brings up a good point because it's the same thing
16 at the same time. So, you have bigger BEVs, and we've
17 already kind of seen this with some of the -- you know,
18 the Jaguar I-PACE, and the Audi e-tron, is that the
19 bigger SUV's, they're not going to be that efficient.
20 They're going to be in the two- and three-mile-per-
21 kilowatt hour range. And so, they're going to need big
22 packs that are not going to charge very fast from our
23 existing infrastructure. So, you're going to have to
24 build -- you know, like, they're looking at higher-
25 powered DC fast charging, and maybe we're going to have

1 to have bigger Level 2, and it's going to change some of
2 that stuff.

3 So, I think we're going to see some of the
4 future grid challenges, you know, are still going to
5 kind of be some of the same themes of trying to put in
6 more stations, more places, less cost, breaking down
7 barriers.

8 But I think one of the biggest future grid
9 challenges that really needs addressing is the apartment
10 charging. And so, I have two EVs, one that's a big
11 battery BEV and one that's a small battery BEV. And
12 even with workplace charging for both of the cars, it's
13 doable, but it's not nice. And people want -- you want
14 home charging. And you want home charging at
15 apartments. So, I think that that's going to continue
16 to be something that is going to be very challenging and
17 that's something that needs to keep getting addressed.

18 I'll let others address some of the other stuff
19 from your question.

20 Well, okay, so for autonomous. So, for
21 autonomous, you know, it kind of comes down to if you
22 have a vehicle that's constantly on the road, you
23 basically -- the opportunity cost for that vehicle is to
24 be always on the road, and trying to pick up customers,
25 and move them. And so, you won't have as much ability

1 to do grid services, necessarily, with it. Except, you
2 do have downtimes, probably, at certain hours. You
3 know, the demand is not constant throughout the day for
4 everybody. You probably have pretty much two peaks,
5 maybe three or four peaks on the weekends for people
6 moving around.

7 But in general, you're going to have these
8 vehicles try to be on the road as possible, so you won't
9 have a lot of down time. And so, it's like, well, how
10 do we integrate that more with what we want to do in the
11 future?

12 And with heavy-duty, medium- and heavy-duty, I
13 think it's just -- you know, if you want to see a
14 utility planner's eyes go wide is try to express what a
15 bus depot is in terms of load. You know, you're looking
16 at megawatts sometimes, in these cases of large bus
17 depots, with very little ability to have the tons of
18 equipment that you need to serve that kind of load.

19 So, I think those are the big three things that
20 we're going to see in the future.

21 MS. GOLDSMITH: Yeah, I guess I didn't totally
22 answer the question about skating with the puck or
23 moving ahead of it. But I think this is something that
24 we face in the funding situation, as well for zero
25 emission vehicles. And it's kind of you want to be

1 incentivizing and taking part in actions that are
2 advancing the technologies that we have here today and
3 making sure that the solutions we have are being used.

4 But we also want to be thinking about the
5 future. And to that extent, I think the way that we've
6 been moving so far has been appropriate, in terms of
7 pilots and demos to be proving out things that aren't
8 quite yet ready for commercialization, but still
9 ensuring that we're focusing on those things that we can
10 do in terms of rate design, and things like that. Which, you
11 should be shying away from those types of applications.
12 We should be exploring them through targeted actions,
13 and demonstrations and really understanding the picture
14 so that when we are more familiar with them, and they
15 have been proven out that we can start moving towards
16 that path more aggressively.

17 MR. CRISOSTOMO: I want to check if WebEx has
18 any questions?

19 MR. CHEN: So, we have one question from Steve
20 Davis. I'm going to unmute your mic. There we go.

21 MR. DAVIS: I think I have a little bit of an
22 echo there, but I'll do my best.

23 MR. CRISOSTOMO: We can hear you.

24 MR. DAVIS: First of all, thank you, Noel, for
25 setting this up. I'm really sorry that I couldn't be

1 there in person.

2 But, yeah, this is more of a comment than a
3 question, in response to -- or, an answer in response to
4 Noel's question about, you know, how do we approach the
5 future and how do we set the stage for revolution-scale
6 adoption that preserves our options for VGI.

7 And, you know, this is -- no one in the room
8 that's heard me speak before is going to be surprised by
9 this, but I'm going to go ahead and say common unique
10 communication standards are the indispensable ingredient
11 in that.

12 I'll start with a couple of points that, you
13 know, simple is what always wins. And in this
14 conversation about VGI, we have to keep in mind the
15 consumer has absolutely no interest in VGI, and aside
16 from some early adopters and innovators. But once we
17 get in the early majority, we have a cohort of people
18 that barely understand how the grid works or that there
19 even is a grid. So, we want this to be a seamless
20 experience as much as possible.

21 I think it's mistake to talk about V1G versus
22 V2G at this point. If a standard is going to support
23 both, then that's the right way for us to build our
24 future. And I think that currently the ISO 15118
25 standard which has embraced both bidirectional power, as

1 well as wireless inductive charging sets us up with a
2 way to respond, actually, now, to a market signal that
3 we've gotten from the automakers.

4 About four years ago, I presented to an
5 interagency panel regarding standards and the question
6 was, well, how do we get this going? And my answer was,
7 well, we send the market a signal by declaring a
8 standard for equipment.

9 At this point, California has, you know, been
10 not making any decisions on this, but for a few early
11 signals from Cal HVIP, that the automakers have now
12 pretty much landed on ISO 15118 for both DC Level 3 fast
13 charging, and AC Level 2 smart charging.

14 So, it's now incumbent upon California to
15 validate that market signal with investments in AC Level
16 charging stations that enable the seamless experience
17 that's going to be the lynchpin of success or failure
18 for these resources being able to be, one, certified as
19 dispatchable in the markets. So, that's kind of
20 important if you're going to dispatch them
21 intelligently, in alignment with market signals. And
22 then, the seamless roaming experience for the customer.

23 So, again, I would just say everything I've
24 heard today is aligned with what's been said, now, for
25 six years which is, hey, how do you -- you know, when's

1 the best time to plant a tree? Well, the best time to
2 plant a tree is 20 years ago. The second-best time is
3 right now.

4 And if we're going to have 5 million vehicles
5 and lots of consumers interacting with them, that
6 they're autonomous or, you know, or not, we've got to
7 have a simple customer experience. And that's achieved
8 through communication standards.

9 And the good news is we've already got one.
10 It's been sitting there since 2014 as a final product.
11 Thank you.

12 MR. CRISOSTOMO: Any -- oh, from Olivine.

13 MR. SONEJI: Hi, guys. Hitesh from Olivine.
14 Thanks, everybody, for coming today. We implement the
15 Excess Supply Pilot, which is a pretty cool project.
16 And we also work with David and EMW, and Sonoma Clean
17 Power.

18 I'd say one of the things I would like to
19 emphasize here, just from a policy planning perspective,
20 is really figuring out this hard, hard thing to solve,
21 which is the workplace charging. If we want to achieve
22 the reduction of curtailment here and be consistent with
23 where you see some good pricing in Excess Supply Pilot,
24 which obviously makes sense is when the sun comes up and
25 the California load's not that great. We really need to

1 figure out that.

2 And I think in that is a question which is what
3 is the resource here? Because, eventually, this is
4 going to get into like defining resources and how they
5 participate in the market. Is the resource the charger
6 or the vehicle? And then, how do you manage that in a
7 sort of -- like what is the CAISO product that can
8 handle this resource that moves around and is quite
9 variable. I don't have the answer to that, but I think
10 that's something we should be thinking about.

11 And secondly, we do a lot of work with electric
12 transportation in the public transit sector. And I
13 think, you know, wow, Jeremy, 3-kilowatt-hours-per-mile
14 for an SUV?

15 MR. WHALING: Three piles per kilowatt hour.

16 MR. SONEJI: Oh, okay. Sorry, I flipped it. I
17 was going to say like --

18 MR. WHALING: But buses can be more than a
19 kilowatt hour per mile.

20 MR. SONEJI: Yeah, absolutely. Yeah, that's
21 been our experience as well, yeah. But, you know, you
22 can move 80 people at once. So, you know, this is more
23 of a commentary and it doesn't come from Olivine. But,
24 you know, public transit is also a really good way to
25 reduce emissions in the transportation sector. And I'm

1 not sure how this body can encourage that, but that's
2 something we should keep in mind as well.

3 MR. SCHLOSBERG: Just can I respond to Hitesh
4 and Matt's question earlier? You know, the issue you're
5 raising, I'm not sure a facility versus car is the major
6 issue, although there could be some efficiencies if we
7 figure out a nifty way to do it, and tracking resources
8 where they go. But it really just hits on what do we
9 need at every hour, every moment of the day to balance
10 the grid?

11 And so, you know, we had the clean standard that
12 was passed a year or two ago, right, where we're going
13 to figure out how we're going to get more of our RA
14 resources from clean sources. I mean, I just think that
15 we're 2045, now it's a marker through executive order,
16 how are we going to get all of our reliability services
17 from non-carbon-based sources? You know, yeah, it's
18 going to be a mixture of things. Batteries are
19 certainly going to -- energy storage is going to play a
20 role. But all of these electric vehicles, all these VGI
21 resources, they're going to have to do the heavy lift.

22 So, that's the vision. That's what we're
23 training for right now is what we need and that's what
24 we're going to have to build towards.

25 MR. WHALING: I'll briefly mention that I love

1 workplace charging and I think that you're on the ball
2 there, where it's like we need to have more load during
3 the day, so we need more charging during the day. And
4 usually that means that, you know, a good chunk of cars
5 are going to be at worksites, and so we need workplace
6 charging in order to charge them.

7 There's two main things that are sort of
8 hampering maybe a little bit of workplace charging. One
9 is cost. You know, it's expensive to run power out to
10 the station. It's expensive to bill the drivers with,
11 you know, some of the existing products right now.

12 And I think the second is sort of the what-do-I-
13 do of, basically, like what -- somebody in the company
14 needs to tell the facility manager, hey, we need to do
15 this. And the facility kind of goes, I have no idea
16 what to do because maybe he's not familiar with
17 workplace charging or any of that. So, there's a bit of
18 a barrier there on trying to get that started with
19 different companies.

20 But once it is started, it's usually quite
21 successful. And I've seen that with -- you know, at
22 American Honda, we have charging for our workplaces.
23 We've seen quite a bit of uptake in electric vehicles.
24 We did some driver surveys and 87 percent said that, you
25 know, workplace charging influenced their decision to

1 get a vehicle, which is a substantial -- it's very high.
2 So, it's a great marketing tool.

3 And with my wife's work, I helped them sort of
4 figure out their charging situation. It's a small
5 business, so they didn't need as many stations. But
6 they basically were kind of stuck for a while just
7 because they didn't exactly know how to approach it.

8 So, there's definitely opportunity there to help
9 worksites get that. And I think we're seeing that with
10 some of the stuff with the utilities right now, trying
11 to do the site-ready stuff, and up to the stub, and
12 everything like that.

13 MR. CRISOSTOMO: All right, one last question
14 before we take a break. And we eroded into some of it.
15 But I want to get us back on track for a 3:10.

16 MR. WEYL: Okay, thanks Noel, I'll try to make
17 it fast. Vincent Weyl with Kitu Systems. I want to
18 build on Matt's question about the future. We have a
19 hundred percent renewable, clean energy goal by 2045.
20 With 5 million electric vehicles, we are nowhere near a
21 hundred percent in California.

22 So, my question is from a policy and planning
23 perspective should our policy aim toward getting to a
24 hundred percent clean vehicles at some point?

25 And the second aspect is from a planning

1 perspective should our planning guidelines enable the
2 progress in transition, so we don't have stranded
3 assets, which is a point that David brought up, because
4 we have a V1G?

5 MR. CRISOSTOMO: Any respondents?

6 MR. WHALING: Okay, I'll go quickly.

7 MS. GOLDSMITH: Yeah -- oh.

8 MR. WHALING: No, go ahead. Go ahead.

9 MS. GOLDSMITH: Absolutely we should be aiming
10 to get higher than 5 million zero emission vehicles. We
11 should be aiming to transform our market as much as we
12 can to take advantage of fueling these vehicles in a
13 clean way.

14 And in terms of the stranded asset type
15 question, I think that kind of hinges on something that
16 we've been recommending in terms of the pilots and demos
17 to really prove out what the options are, and what the
18 most effective means is. And this kind of ties into the
19 15118 comment. And we're not -- LETC doesn't have a
20 position on what standard should be used, but we do
21 think it's going to be important to let the market
22 determine what the best path forward on that is. And to
23 support all of the options there with an eye towards
24 future proofing and ensuring that we aren't stranding
25 any assets. But allowing for unique and innovative

1 opportunities to arise and ensuring that the market can
2 rise to the task to combining all these together and not
3 kind of limiting any sort of interaction on that side.

4 MR. CRISOSTOMO: Jeremy, you'll have the last
5 say.

6 MR. WHALING: Okay. I promise I won't cut in
7 too much to your break.

8 Okay, so for stranded assets. I think the
9 biggest risk in terms of stranded assets is actually
10 looking at the electrical infrastructure in terms of
11 like the conduit, the wiring, all that sort of stuff is
12 probably your -- usually, that's like the biggest cost
13 for a lot of these different setups.

14 And so, if you have a communication standard
15 that allows you to have a smaller, you know,
16 transformer, or smaller conduit and wiring, and stuff
17 like that, you know, maybe it's not exactly a stranded
18 asset, but maybe it's not the best -- effective use of
19 funds if you have to build out the site more for every
20 station having full power.

21 But also, there's also the case of where you --
22 say you have a sit that maybe it was sited originally
23 for Level 2 and it turns out eventually we need to get
24 DC fast charging there, and now you're lower-power
25 wiring is no longer applicable. And you have to get DC

1 fast charging, you know, a big grid feed, and all that
2 stuff, and you have to rip out some of that.

3 So, that would necessarily be a stranded asset
4 or, again, not a good use of funds.

5 But also, I think with sort of like V1G versus
6 V2G, you know, I responded to the question of where
7 we're skating to at the park is that V2G is really where
8 we kind of need to go, because I think that's where the
9 park is eventually going. But that doesn't mean that
10 V1G isn't really critical.

11 I think that there's going to be some cases
12 where there's a lot of V1G, especially around site level
13 demand management, there will be a lot of stuff there.
14 And, you know, grid services as well, certain places
15 where it just doesn't make sense.

16 You know, I think middle of the day you're
17 probably not going to do a lot of discharging, so maybe
18 there's not a lot of V2G during the middle of the day.
19 But there's certainly a lot of cases for, you know, EV
20 and peak demand, where you could have a lot of V2G there
21 and save a lot on your grid, and in terms of your carbon
22 emissions from other sources, and stuff like that.

23 So, yeah, thanks.

24 MR. CRISOSTOMO: Great. So, to transition with
25 panels, I want to call up the next set of folks to come

1 here, and then maybe we'll have a break in place to just
2 stretch, and so we can keep going. Thanks.

3 (Off the record at 3:10 p.m.)

4 (On the record at 3:20 p.m.)

5 MR. HARLAND: All right, it looks like everybody
6 is back in their seats. So, thank you for doing a bit
7 of a blitz break there. I really appreciate it.

8 We're going to get started on our afternoon
9 panel. So, I'm going to hand it over to Carrie, from
10 the CPUC. Introduce yourself, I guess, and the panel,
11 and let's get going. Thanks.

12 MS. SISTO: Thanks, Eli. I'm Carrie Sisto. I'm
13 an analyst with the California Public Utilities
14 Commission, focused on electric vehicles and
15 transportation electrification. So far, my work there
16 has been pretty focused on utility applications for
17 programs to help accelerate transportation
18 electrification across the board, as directed under SB
19 350. And now, I'm starting to get to oversee the
20 implementation of those programs, which is really
21 interesting to be a part of.

22 And so, I was asked today to help lead this
23 Economic Potential Panel that kind of delves into
24 identifying strategies to make sure that the programs
25 that were adopting to accelerate transportation

1 electrification are economic, both from the point of
2 view from a utility, and also from the point of view of
3 the customer's participation in the transportation
4 electrification programs. And to identify the barriers
5 that exist on both sides of that wall and find
6 strategies that kind overcome barriers for everyone
7 interested in these programs, both on the utility side
8 and the customer side.

9 So, we have a great panel. We've got
10 representatives from some utilities. We've got some men
11 who have been working on modeling this stuff and helping
12 both the Utilities Commission and the utilities come up
13 with strategies to overcome these barriers. And then,
14 we've got a panel member from NRDC, who's helping kind
15 of bring the customer voice to the table and on
16 overcoming those barriers.

17 So, with that, I'll start off with Cindy Fang
18 here, from SDG&E, who's going to focus a little bit on
19 their programs to date.

20 MS. FANG: Thanks everybody. And I kind of want
21 to start with thanking the first panel for many reasons,
22 but also because they really just set the stage for my
23 discussion about some of the rate design ideas that
24 we've put out there.

25 So, traditionally, when we talk about EV rates,

1 the focus tends to be on super off-peak and sending
2 super off-peak charging and limiting demand charges.
3 And so, when we started looking at vehicle-grid
4 integration, you know, I approached it with the same
5 mind as Jaime's earlier comment that we already know
6 people are responding to TOU pricing.

7 And so, we were looking at something that we
8 wanted to really be the next steps about EV rate design.
9 And with that, it really was more of a long run look and
10 looking at scalability.

11 And so, because of that what we did is it was a
12 focus not just on managing load at the system level, but
13 also managing load at the circuit level. And so, with
14 that, what we ended up coming up with is an hourly
15 dynamic rate, which had with it system peak price
16 signals. So, for the top 150 hours at the system level.
17 And also, circuit peak adders. So, top 200 circuit
18 adders. So, when you expected the top 200 hours at the
19 circuit level to occur, there would be price signals for
20 customers at that level.

21 And so, what customers would see across the
22 service territory is that those circuit level peak
23 adders, so SDG&E, we've got like a thousand some odd
24 circuits, what they would see is every customer would
25 see the top 200 hours. But what it means is those top

1 200 hours would occur at different times based on the
2 load at each of those circuits.

3 MR. HARLAND: And Cindy, I'm navigating up here
4 for you. We had a little technical difficulty. So, I
5 can go to the next slide when you're --

6 MS. FANG: Yes, awesome. Thank you. Next
7 slide.

8 And so, with that, when you look at the cost
9 drivers at the system, you know, the drivers vary -- oh,
10 can you go back to the other one? Thank you. the
11 drivers vary based on the differences of the services
12 provided at the different levels of those assets.

13 And so, however, when you think about capacity-
14 related costs on the utility system, there's a lot of
15 similarities. So, with capacity-related costs, we are
16 talking about the driver being peak load.

17 But then, between the system, so when you're
18 looking at generation and commodity resources, you're
19 talking about the system being defined as the full
20 aggregation of all -- so, for us, it's all of SDG&E's
21 customers.

22 But as you start to move down through the system
23 to those more localized levels, that load looks very,
24 very different. Because it's much more localized, it's
25 fewer customers, it's a much smaller load.

1 The next slide, please. And so, because of that
2 what we did is we took a deeper dive into what that
3 looks like. So, a few things that we saw as we made
4 that observation is that only some of our circuits
5 peaked at the same time that our SDG&E system peaked.

6 In addition to that, what we saw is that when
7 you look at the shape at the circuit level, those shapes
8 could vary dramatically compared to what we see at the
9 system. So, you have some that really align, they come
10 really close. But as you started to look at the
11 individual circuits, that load shape could vary
12 significantly.

13 The other thing that we found is that sort of
14 the persistence of that shape or that persistence of
15 that peak ended up being far more transitory than what
16 we saw at the system. So, as you can imagine, when
17 you're looking at each of the individual circuits, so
18 that's the -- you add up the thousand circuits to get
19 that sort of system load shape and that system peak,
20 that ended up having a much, much stronger persistence.
21 Which works because the CPUC has already given the
22 California IOUs the guidance that TOU periods should
23 basically be in place for about five years.

24 And that actually seems to work out when we look
25 at the larger system. But when we look at the circuit

1 level, we can see it doesn't take a lot to really sort
2 of change that load shape to change when those peaks
3 occur.

4 And so, as we started looking through what
5 design is going to be most appropriate to address some
6 of these issues, that's when we started to really step
7 away from just a conventional time-of-use rate.

8 The other thing that we were challenged in,
9 especially when we look at rate design, is the problem
10 of equity. So, when you think about how some circuits
11 are more heavily loaded than other circuits, so that
12 issue was sort of brought up earlier, imagine the
13 potential equity problems that you become faced with if
14 you price one circuit higher than the next circuit.
15 Imagine small businesses. You know, those small
16 differences, a lot of small businesses operate on a very
17 narrow margin. So, those small price differences
18 actually could have a meaningful, a very meaningful
19 impact on just the operational viability of those
20 businesses.

21 And so, that was the other reason why, when we
22 looked at the rate design, why we chose to price every
23 circuit, even though not all of them were fully loaded
24 and needed immediate, you know, response. But what it
25 did is it set up a price signal so that you're looking

1 at the top 200 hours for every circuit, which sort of
2 pushes out that idea of when that investment will occur.

3 So, the other part, as far as sort of the
4 temporary nature of this, when we moved away from TOU,
5 the one thing about TOU pricing is it is, I think
6 someone earlier talked about habit. TOU pricing sort of
7 conditions customers to sort of, for SDG&E, our on-peak
8 period is 4 to 9. It conditions all customers to know
9 that 4 to 9 is the high-cost hours.

10 But when we looked at how the circuits are going
11 to go and what is something that's really going to be
12 sustainable for the long run, what we looked at is how
13 do we really capitalize on the potential flexibility of
14 EV charging?

15 And so, when we moved away from a TOU structure
16 and, instead, focused on these top hours, what we were
17 able to do so our on-peak periods end up creating a
18 situation where it's anywhere between 15 to 20 hours are
19 high-cost hours.

20 But when we moved to the 200 and 150 hours, it
21 ended up being four percent of our hours are high-cost
22 hours. So, when we introduced this idea of a much more
23 flexible rate design, what it creates is it opens up the
24 economic potential, too, for many more low-cost hours
25 for charging.

1 So, if the customers can be flexible, if they
2 can actually really respond to a very active, a very
3 dynamic price signal, then all of the sudden it opens up
4 the potential for all these low-cost hours.

5 Now, the one thing that I will say -- so, let's
6 go to the next slide. So, this sort of talks through
7 the different, you know, rate design tools that are out
8 there. And the reason we moved to this sort of top 150
9 and top 200 hours concept is it does model after our
10 existing CPP rate design that you have for commodity
11 services.

12 But what we did is we basically took that idea
13 and brought it down to the circuit level. And with
14 that, it does give you some ability to respond to that
15 capacity-related price signal. A different way to do it
16 than through just straight up demand charges.

17 I will say, though, as we continue to look at
18 the different issues that we see with further EV
19 adoption, there will be more that needs to come with
20 this. You know, I think that the longer-term solution,
21 it's not going to be just rate design. It needs to be
22 partnered. Technology ends up being absolutely
23 critical, especially with a complex rate like this.

24 When we put out our Power Your Drive pilot, with
25 that one it does come with technology that is very much

1 a set it and forget it. You know, without that, it
2 really is too much for people, for any customer to
3 really be monitoring, every hour of the day, the
4 pricing.

5 But what it did create is that customers could
6 identify that they don't want to charge at a price lower
7 than X cents. Let's say it's 20 cents or 16 cents. And
8 then, when you're plugged in, then it would just charge
9 when the price drops below that level.

10 The other thing, we also did a residential pilot
11 and this did not come with actual technology, but it did
12 give them an app for the price. So, our residential
13 pilot, I had people coming up to me all the time.

14 And so, if you look at those bars, they knew
15 when that price was high. There were all sorts of
16 conversations between husbands and wives about, no, you
17 will turn off everything at this time of the day. And
18 so, people did understand, when you introduce some of
19 those tools, but it absolutely is necessary.

20 The pilot was just a one-year pilot. But, you
21 know, if you were to actually partner it with
22 technology, with enabling technology where, you know,
23 you would be cycling your thermostat, other things,
24 then, you know, that's really where we want to see these
25 things. You would see a rate design like this actually

1 have some legs.

2 As far as the incentives, one of the things I
3 mentioned earlier is sort of the temporary nature of
4 some of the need that can show up at various circuits.
5 I think a partnership, with incentives, ends up being a
6 really important partnership. Because that sort of
7 temporary nature of the need means that there is sort of
8 a first-come first-serve aspect to what's needed at the
9 circuit level. And I think that that allows you a
10 mechanism to be able to facilitate that and avoid some
11 of the issues as far as equity across pricing for
12 customers.

13 I would also say that more technology and
14 programs, as far as actually limiting the load, is going
15 to be critical as this continues to scale.

16 So, you know, we talk about super off-peak
17 charging, but when we look at EVs -- you know, years
18 ago, SDG&E talked about how an EV was equivalent to an
19 average residential home for SDG&E's service territory.
20 That is no longer the case. And we know that the size
21 of the charge is going to just get bigger and bigger.

22 The clustering of residential customers adopting
23 EVs is going to be a high probability. And when you
24 think about the introduction of fleets, more fleets,
25 medium, heavy duty, it could very easily become the

1 situation where the super off-peak becomes the new on-
2 peak.

3 And so, the ability to be able to get these
4 customers sort of used to the idea that this is going to
5 be a flexible, moving target as far as when we want you
6 to charge, is going to be really important.

7 And in developing rates like this, I hear a lot
8 about the challenges of complex rate design and what it
9 means to our customers. And with this, that's where
10 technology is critical. I think that the -- and you
11 have to sort of sell the economic benefit on this. But
12 that flexibility can get you more opportunities to save.
13 But with the sort of the size of the loads that we're
14 talking about, I think that there's no way for us to
15 really move forward without some discussion about load
16 management, actual controls.

17 So, pricing incentives, as well as some sort of
18 controls that we've seen various programs already, I
19 don't know, some equivalent to summer saving, the
20 cycling, things like that, that we need to really
21 explore in order to be able to manage the cost of
22 potential grid investments.

23 MS. SISTO: Great. Thanks, Cindy.

24 I think we should hold questions to the end, so
25 I'll hand it over to Dean Taylor from Southern

1 California Edison, who's been a great asset in the VGI
2 Working group that took place last year, and he's
3 participated in this roadmap update to date. So, he's
4 been a great asset so far. Fill us in a little bit on
5 what SCE's doing.

6 MR. TAYLOR: Yeah, thank you. For those of you
7 may not have been aware, there's a thing called the VGI
8 Working Group, where we had maybe a hundred
9 stakeholders, and dozens of meetings in about a year-
10 long process. So, many of us in the room know each
11 other, but maybe not everybody.

12 I'm actually not going to talk so much about
13 Edison on this, although I'll give you the one-minute
14 kind of version. In the back, in this deck, in the
15 appendix is our new EV 7, 8, and 9 rate, which we think
16 are kind of best in class. They'll go into effect when
17 we launch our Charge-Ready Transport, which is like for
18 medium- and heavy-duty vehicles.

19 But this rate is broader than that. It does
20 apply to, you know, DC fast charging, fleets,
21 workplaces, even MUD common areas. So, it's all
22 commercial accounts.

23 And, essentially, you have 8 cents a kilowatt
24 hour in the middle of the day, 13 cents a kilowatt hour
25 in the middle of the night. Where you get slammed is

1 during the ramping period on weekdays, where between 4
2 in the afternoon and 9 at night, you know, over 40 cents
3 a kilowatt hour.

4 But, you know, if 10 cents a kilowatt hour is
5 about, essentially, a dollar a gallon equivalent that
6 shows you how amazing these prices are. They're
7 essentially -- I think Hawaii was the first place to do
8 this, where we'll be the second.

9 But the other part is there's no demand charges.
10 There's a five-year phase-in period. But even in year
11 11, the demand charges are quite a bit less because we
12 keep the time variant rates, like I just described.

13 So, that's, you know, hopefully, a very exciting
14 new way of doing things. To give you a sense of what to
15 -- like Level 2, 6.6 kw charging in California, as well
16 as DC, 50 kw charging in California, added in all the
17 other things like penalties to move, parking, et cetera.
18 And that was also coming out at about 40 cents a
19 kilowatt hour. So, that probably explains why, you
20 know, home charging is so valuable. If you can get home
21 charging for, you know, 10, 15 cents a kilowatt hour why
22 -- why we see, you know, so much of that. I think
23 customers have been pretty smart so far.

24 And so, all of that's in the back. I will say
25 this presentation, I've tried to reflect the comments of

1 like an ad hoc coalition, Edison, and about six or seven
2 other utilities, and six to eight automakers have been
3 sending in quite a few letters. First, to the PUC and
4 the VGI Working Group, and then on this. So, I'll try
5 to get right into the main ask, which is what are
6 recommendations for the new roadmap.

7 I did want to mention -- if you can go to the
8 next slide.

9 MR. HARLAND: And Dean, I'll note, too, there is
10 a clicker there you could use for the slides.

11 MR. TAYLOR: I don't think it's working.

12 MR. HARLAND: I think I've finally caught up
13 with the technology and it should work. Hey, there we
14 go.

15 MR. TAYLOR: So, you know, in the old days, not
16 so long ago, everybody was concerned about building so
17 many power plants and you hardly hear anybody talking
18 about that because of all the huge amount of solar. So,
19 the duck curve is a big deal.

20 But even from the utilities' perspective, more
21 is the distribution system impacts, you know, the cost
22 of things there. So, we don't have time to get into
23 this. I've seen some very interesting studies from SMUD
24 that, you know, literally, it's like five times more
25 valuable getting lower level charging, you're reducing

1 the kw, in your purchase decision than it is for
2 shifting your load. We talk an awful lot about the duck
3 curve, but people forget that the really big deal is the
4 distribution system impacts. You heard a little bit
5 about that from Cindy.

6 But what is getting the utilities' attention
7 lately is, you know, all the medium- and heavy-duty
8 vehicle charging. And they're talking about a standard
9 coming.

10 I was talking to the Idaho National Engineer Lab
11 guy before, you know, 1 megawatt charging for trucks.
12 And the same for, you know, large, away-from-home
13 charging stations, like with Ride Hailing, or even
14 autonomous vehicles, or just large concentrations of
15 workplace charging. You can literally have, you know, a
16 megawatt or two in a parking lot.

17 And on the other hand, that's not necessarily a
18 big deal for people. I mean, we added -- the ships
19 plugging in, in the Port of Long Beach are -- you know,
20 a typical ship is 7 to 15 megawatts. We added a
21 substation or two down there and nobody was even
22 noticed, that type of thing. I mean, it's much, much
23 more than anything we're talking about in this room, and
24 it was just done. And the pollution reductions are, you
25 know, amazing.

1 So, to put it all in context here, it's just
2 something utilities can do. I mean, you give us enough
3 notice and we'll gladly to that. And it's literally
4 like taking hundreds of thousands of cars off the road
5 down in the port.

6 But backing up, it's all about how do we change
7 behavior? So, what has made a lot of progress is simple
8 things. You've heard a lot about rates. You know, I
9 call it passive V1G, it could be indirect controls. You
10 know, not everything has to be managed V1G or V2G.
11 There's a lot that can be done with simple solutions.
12 In fact, I would say V1G and V2G has faced a lot more
13 barriers and that's probably why we're here today,
14 coming to how do we make it go faster.

15 So, I don't know about you but, you know, all
16 this V1G stuff I find very complicated. It gives, I
17 think, a lot of us a pretty big headache.

18 You know, there's many agencies, it's interwoven
19 with consumer issues, there's competing business models
20 of the automaker and the charging station maker. The
21 whole thing of net value has all these many elements of
22 both up front and ongoing costs. There's many times of
23 benefits. There's, you know, non-monetized costs and
24 benefits. There's all these different studies that say
25 different things, with different terminologies,

1 different conclusions, different ways of looking at net
2 value.

3 So, this coalition I was referring to earlier,
4 of automakers and utilities, I think our main request is
5 just to understand the situation more. More analysis
6 before any mandates are coming, and regulations, you
7 know, or in grant programs. So, you'll see that, I
8 think, reflected as I go through here.

9 But since I was the lead on this effort on the
10 glossary that is now published and up at the VGI Working
11 -- what is the URL? It's just PUC/VGI?

12 Okay. So, in there you'll see a glossary. But
13 there's a lot more work for all of us to do to add to
14 that glossary, to be disciplined in using it. Because a
15 lot of people, for example, when they see VGI, they just
16 think it's smart charging and V2G, and don't even
17 realize this broader definition.

18 But one thing that didn't ever really get
19 published, wasn't because it wasn't completed, but the
20 VIG Glossary subteam, including Eric and myself, we
21 worked to consolidate, I think, 12 different benefit
22 frameworks. Everybody had a different way of slicing,
23 and dicing, and analyzing this pie and it was very
24 confusing. So, we did our best. I think there's over
25 150 rows in there, but essentially some of the key

1 things were questions we tried to answer like who needs
2 the benefit? What is the benefit? What meets the need?
3 How to meet the need? How to measure the need?

4 And so, one recommendation would be to continue
5 that and update it to meet the current needs because
6 there's more work to be done there.

7 As far as examples of some of the benefits, this
8 is where it's surprisingly tricky, is that there's
9 avoided costs to the driver, a whole bunch of them.
10 From, you know, the low cost to charge at night, or in
11 the middle of the day, except during that ramping
12 period. Lower costs for charging equipment or avoiding
13 networking fees, or at least reducing networking fees.
14 There's the avoided cost to the grid, again compared to
15 an alternative like, you know, avoiding distribution
16 system upgrades, or having a storage mandate with V2G,
17 which was talked about earlier.

18 So, just a really quick thing. A lot of people
19 don't realize that residential customers are being
20 defaulted onto time-of-use rates, all throughout
21 California the next few years. And they're not all that
22 very good for electric cars, but just you can save about
23 \$200 to \$400 a year just by going from gasoline to these
24 new default rates.

25 And then, there's even better rates that are

1 designed with EVs in line. Like Edison will be
2 launching a revised version of our whole house rate,
3 called EDV Prime, I believe it's called. And that will
4 be launching in a few months. You can save another, you
5 know, \$300, \$400. So, just these two rates -- you know,
6 by getting on a rate, you can literally save \$600 to
7 \$800 a year. So, there's huge benefits, you know, to
8 the driver by going on rates.

9 There's also value to the site host. So, site
10 hosts are, I think, an important part of this. One of
11 the big ones is just to sign up for LCFS. You know,
12 right now, just with the grid average you can reduce
13 your carbon by 80 percent. And if you link it onto
14 solar, or RECs, or things, you can get it down to 100
15 percent.

16 But the value of LCFS is directly tied to
17 kilowatt hours. So, this isn't so much VGI related, but
18 you can save 17 cents, 25 cents if you're medium and
19 heavy duty. That's a lot. You know, there's a huge
20 value proposition there.

21 They also, obviously, can collect money from
22 drivers, they can attract new customers, et cetera.

23 There's also avoided costs to the site host by
24 avoiding or reducing demand charges. The same for
25 avoiding hard costs to energy charge times or deferring

1 panel upgrades.

2 And people forget there's these different
3 barriers. You know, you can do a lot and then you have
4 to upgrade your panel, then you do some more and you
5 have to upgrade your transformer. You do even more and
6 you might have to upgrade your substation or feeder.
7 So, there's different levels. But it doesn't mean you
8 don't want to go big at some point. To get to the
9 number of cars we're talking about, you're going to have
10 to go through most of those stages. Possibly, not the
11 last one, depends on what you are.

12 And there's also value to the aggregator. So,
13 there are these clever things called LCFS Smart Charging
14 Credits, which take effect in January. And I'll give
15 you an example for a residential customer, like I said,
16 you can reduce by 80 percent. But you can give him an
17 additional one, you know, half-a-ton to one ton by going
18 above and beyond, and charging at even cleaner times of
19 year. And say you got that extra one ton, that would be
20 worth about \$180 a year to the aggregator. It could be
21 an automaker, it could be a charging station maker that
22 chooses to be the aggregator.

23 And then, of course, you also can sell into the
24 CAISO for energy or ancillary services.

25 As far as recommendations to the roadmap, I'll

1 try to go quick. But update the glossary, update this
2 consolidated benefits framework. Expand utility of
3 marketing of optional time-of-use rates to more
4 residences and commercial accounts.

5 So, the one I was just mentioning probably has
6 like a 20 to 30 percent uptake rate around California.
7 So, you can imagine how much more people would be saving
8 if you could get it up at 50 percent, 80 percent.

9 So, LCFS is an interesting possible way of also
10 getting more people aware and uptaking on this. I don't
11 know why, but people don't even think to call their
12 utility, so we don't even know where roughly half the
13 cars are. And people literally spend about five minutes
14 a year thinking about their utility, so it's just not
15 really high on people's list of what they want to do.

16 You also could launch more commercial rates
17 designed to encourage EV adoption. I mean, there's some
18 best in class examples, but there's 50 utilities in the
19 State of California, when you add in all the small co-
20 ops and others.

21 There could be more of this demand charge phase-
22 in, with time variant rates, or demand charge
23 neutralization that Hannah spoke about. So, you know,
24 having more favorable rates everywhere, not just a few
25 best in class examples, would make a huge difference.

1 There's also a lot of other best practices that
2 both utilities and automakers have been doing. These
3 are kind of the simple, easy things that are out there.

4 You know, one thing Edison does is we upgrade
5 transformers to a larger size at the end of life. And
6 that's one reason our load research reports show we've
7 had very little impact. You know, that's just a very
8 simple that we've done that's worked.

9 The DUM for the investor-owned utilities, these
10 are online maps showing circuit capacity. So, we have
11 over 4,600 circuits in just Edison alone. Like the
12 project developers can go online and understand which
13 circuits are most constrained and least constrained, and
14 how we can obviously do more education.

15 The automakers do a lot of things already, too,
16 it's worth mentioning. You know, they obviously have
17 dashboard controls. The cars are very smart, a lot of
18 interface with the consumer. There's a lot that they
19 provide already. Most of them provide free Level 1, or
20 in some cases, Level 2, and they do a lot of educating
21 in that space.

22 So, just increase marketing of LCFS is another
23 idea. One of the big ones is to compare all the
24 different studies on VGI. I know there's a literature
25 search is starting to go on, now. But even more than

1 that is to compare them, to try to understand them on an
2 apples-to-apples basis so that we have just a better
3 understand. Because it gets very confusing when they're
4 all saying, oftentimes, different things.

5 The next two are highlighted in red because I
6 think these are priority actions. I didn't really have
7 time to assign, you know, to agencies, but I did put a
8 few things in red as the highest priority. Which would
9 be to finish the original task 2 and the original task 3
10 from the VGI Working Group.

11 So, task 2 was all about net value, looking at
12 all the costs, and all the benefits, and analyzing the
13 tradeoffs of all the different use cases that are out
14 there.

15 And similarly, task 3 was originally focused on
16 developing low-cost policy solutions. Again, I would
17 think it would be great to look at all the ideas we're
18 hearing here today, and what was presented to the VGI
19 Working Group for all the different use cases.

20 But also, beyond that, I think it's important to
21 start validating in real world. So, to take all the
22 automakers to the next, and the charging station makers
23 to the next level. So, if somebody is doing 1,000, you
24 know, take them to 10,000. If somebody's doing 100,
25 take them to 500. You know, let's get real world

1 customer experience, a real-world validation of
2 benefits, cybersecurity, functionality. You know,
3 gather all this data from all the different things and,
4 you know, spend some serious chunk of change to get
5 beyond pilots and into as large as we can possibly go.

6 Prioritize adoption of simple actions that can
7 change driver or site host behavior. Improve agency
8 coordination. You heard that from Hannah, so I won't
9 repeat. But I would say that I think it's important to
10 finish what CARB is doing over on the SB 454 process,
11 which is almost done. That's the charging station open
12 access thing, where they're possibly going to be
13 mandating credit card readers.

14 Because there is this -- you know, it isn't
15 often just about VGI. Now, it's we're having to deal
16 with both VGI and consumer issues. When I say consumer
17 issues, I mean things like payment, or payment
18 authentication, or other things that don't directly
19 relate to VGI.

20 And then, almost done. Develop a clear business
21 case for the automakers to put a VGI communication
22 protocol into large-scale production. At this time
23 there's not enough information to do widescale mandates,
24 you know, of communication protocols at this time, or
25 grant programs.

1 Then the last slide is continue demonstrating
2 EVs and existing DR programs. Edison's doing something
3 today with Honda in our Power Save Program.

4 And, also, develop a whole separate effort on
5 medium- and heavy-duty, and non-road EVs. Understand
6 all the use cases. Single, double shift, triple shift
7 operations, the need for away-from-home charging for
8 those vehicles.

9 Develop and find test solutions that are both --
10 you know, for both active and passive. Find favorable
11 use cases. Maybe, you know, school buses are often
12 talked about.

13 And then the last two is convene an ongoing data
14 analysis working group. I think the automakers and the
15 charging station providers have a lot of data. I think
16 who suffers, a lot of times, is both the utilities and
17 the agencies. And by this, I mean a true working group,
18 kind of like what we had with the Vehicle-Grid
19 Integration Working Group, where it's a roll up your
20 sleeve, or maybe like the Demand Analysis Group, where
21 we're constantly learning and comparing, understanding
22 the load shapes. We're all going to start drowning in
23 data here pretty soon. And to realize understand,
24 analyze it, and take the best message.

25 And then, I realize you're planning another

1 webinar once you have the draft roadmap. I would go one
2 step further. I think it's more of a workshop. I think
3 we should -- you know, I realize this is sometimes a
4 pain to come up here. But I would recommend going a
5 step further and having us in a workshop.

6 I was participating in this in 2013. I think we
7 had at least three rounds of actual workshops. We even
8 had, you know, all-day breakout sessions, and really
9 rolled up our sleeves.

10 And I think there's so much here that we're
11 going to need that this next time. Thank you.

12 MS. SISTO: Thanks, Dean, for those
13 recommendations on our path forward.

14 Now, we're going to hear from Eric Cutter who's
15 -- I think so, yeah -- who's with E3. He's helped the
16 CPUC quite a bit in some modeling for our integrated
17 resource planning, and coming up with some strategies on
18 how to move forward in that process. And we've asked
19 him here to talk a little bit about his findings, and
20 give us some recommendations based on that experience,
21 and others.

22 MR. CUTTER: Great. Thank you, Carolyn. Thank
23 you, CPUC and CEC for the opportunity to speak.

24 Now, so my goal today is -- if we'd been talking
25 at like the, say, 10,000-foot level, I'm pulling us back

1 up to maybe the 50,000-foot level, just for a little
2 bit.

3 So, I'll first say that, so, Energy and
4 Environmental Economics, we're a consulting firm in San
5 Francisco. We've been helping the CPUC and the
6 utilities on a number of fronts. But the most relevant
7 for today is on the integrated resource planning for the
8 utilities as they look to meet our carbon and RPS goals,
9 what is the least cost portfolio of resources in order
10 to do that.

11 And, increasingly, we want to pull in
12 distributed energy resources generally, and VGI in
13 particular.

14 And so, my goal over the next seven slides, I
15 had the opportunity to speak with Lance (indiscernible)
16 from Nissan, last week, and described some of this. And
17 at the end of the conversation they said, boy, this is
18 really complicated and confusing and there's so much
19 regulation.

20 So, you guys can give me a thumbs up or a thumbs
21 down if I present this simply enough to, let's say, how
22 we can get to a value of VGI that a lot of people can
23 understand at the end of the day.

24 So, we were talking earlier about the puck,
25 where the puck's going to go. Like the overarching

1 framework for where the puck is going to go for us, and
2 for the State, is greenhouse gas policy and modeling the
3 2050 pathways. Economy-wide modeling for CARB, and the
4 CPUC, and the CEC about what's going to be needed
5 overall in California to meet these targets. That
6 informs what needs to happen in a lot of sectors. But
7 for us, particularly in the electricity sector.

8 And then, we go through several steps of more
9 detailed modeling in the electricity sector. The first
10 one I just mentioned, what is the least cost resource
11 portfolio for the electric utilities?

12 After that, we need to make sure that resource
13 portfolio is meeting the reliability standards. And so,
14 that ELCC or effective load carrying capacity.

15 And then, the third is, you know, how does all
16 of this work actually work in system operations to
17 provide value on the electric grid?

18 So, the big picture, if we look out to 2030, is
19 briefly presented here. That in those portfolios of the
20 2050 pathways, there's a lot of decrease in load with
21 energy efficiency, but there's an increase in load
22 because we want to use the increase in renewables on the
23 electricity sector to decarbonize loads in the
24 transportation and building sector.

25 And the interesting facet that I was looking at

1 this chart is you can see in that portfolio
2 transportation is kind of leading. It's coming out
3 first. And again, to think in the larger policy
4 context, we're not just doing this, this VGI for
5 vehicles, just for vehicles, we're doing it as an
6 example of a flexible load for buildings that can also
7 participate in these markets.

8 So, the economics of heat pumps aren't quite
9 there, as they are for electric vehicles. But we want
10 those loads to be flexible when they do come in. And
11 we're already beginning the process for planning for
12 flexible water heaters, and heat pumps. And the
13 business model should kind of translate pretty well.

14 So, how are these flexible vehicles providing
15 value on the grid in all this modeling we're doing?
16 Well, that's the chart up here. In a high
17 electrification scenario, where we have a lot of
18 flexible load, on the left-hand side, we're still
19 curtailing some excess solar, but we're able to manage
20 that with a fairly small amount of curtailment overall.
21 This is a particularly sunny, spring day on the electric
22 system in 2050.

23 Now, if we imagine a portfolio of resources
24 that's not very flexible, then we end up with the chart
25 on the right, and we are curtailing a whole bunch of

1 excess solar. And that has costs for the system because
2 we have to build more renewables and that's more
3 expensive. Or, we have to build more energy storage or
4 other flexible resources to manage that intermittent,
5 renewable generation. So, both of those have a
6 potential cost.

7 And that, at the end of the day, is what the
8 value of VGI, or flexible electric vehicles is from us,
9 as a modeling-the-grid perspective. And so, that's
10 shown in this chart. So, these are a bunch of scenarios
11 developed for the CPUC, the integrated resource planning
12 proceeding.

13 On the left is a 42 million metric ton target.
14 On the right is a 30 million metric ton target. And
15 I'll just point out for purposes today that a 30 million
16 metric ton target, if we look at the additional
17 resources we need to build to meet that lower greenhouse
18 gas target, you see a lot of purple. Well, that purple
19 is behind the meter, in front of the meter, lithium ion
20 batteries and pump storage.

21 If electric vehicles or other loads can
22 essentially serve the same function, or some of the same
23 function, then it reduces the amount of more expensive
24 storage that we need to put on the system. And that
25 difference in values, as we run our models, is a value

1 of VGI. So, you see that in the bottom right-hand
2 corner.

3 With adding flexible EVs, we're reducing the
4 cost from about \$1.1 billion down to, yeah, \$900
5 billion. And so, that translates to a value of VGI in
6 the market.

7 So, in the next few slides I just want to
8 provide -- and I'm -- illustrate a few examples of then
9 how we translate this into where that hockey puck is
10 going to be that everyone wants to shoot for.

11 So, you know, one example that comes out of this
12 modeling is a lot of focus today on frequency regulation
13 as a valuable market. We model how much frequency
14 regulation is going to be needed. And then, what's the
15 market price as we get more and more on the system. It
16 turns out that's a fairly small market and it gets
17 saturated, if you will, after 600 megawatts.

18 Whereas for another potential market for VGI,
19 load shifting, that we've been talking about today,
20 moving the time of charging. That is both a much larger
21 market, we -- in this particular study we didn't really
22 find the end of the market. Now, it's not infinite but,
23 you know, on the order of one to two gigawatts, as
24 opposed to 600 megawatts. And under a high-renewable
25 scenario or a low-carbon scenario it can be potentially

1 pretty valuable.

2 And so, then we look ahead, this is a snapshot
3 of 2025, of the different size of those two markets.
4 And so, if you think of this as something that the
5 automakers or the EVSEs are shooting for, they can look
6 at roughly a 16 -- so, this is an annual market value in
7 millions. So, roughly, a \$16 market in frequency
8 regulations or a, roughly, \$225 million market in load
9 shifting.

10 So, whenever someone is coming to ask, you know,
11 where should I go, absolutely the money today is in
12 frequency regulation. You've got to make hay while the
13 sun shines and that value, get that product to market,
14 establish the business models. But definitely make sure
15 you're ready for some longer-duration services because
16 those are going to be a bigger market and more valuable
17 in the near future.

18 So, we put all the pieces together. I want to
19 show like we're really looking at three fundamental
20 pieces for a value -- we want to see the size of the
21 market and then, where the market clearing price is
22 going to be given the size of that market.

23 And so, one factor is going to be what I've been
24 describing, here in the bottom, like the value to the
25 grid. So, we can help calculate that, as I've been

1 describing.

2 Part of that is going to be how much of that can
3 be supplied by electric vehicles, if we're looking
4 particularly at a VGI market? And that means
5 translating all this to a reliable number of megawatts,
6 or megawatt hours that electric vehicles can supply to
7 the grid. So, those, I think, we can understand fairly
8 well.

9 Then there's a third piece of, you know, how
10 does this stack up against the competition? So, a lot
11 of other products or services are going to be competing
12 for that same market of energy storage, flexible
13 dispatch of renewables, building loads eventually.

14 And I guess I want to point out here like if you
15 ask me, or the people on my team, we'll want all the
16 data on all of this before we give you a good answer.
17 But we don't want to, really, wait that long. So, I
18 think we get to a pretty good answer with the first two
19 things, like the value to the grid and a rough
20 assessment of how much of that can be met with VGI. And
21 not trying to get too caught up in how all this compares
22 to other things. Let's let the market figure that out.
23 And you've already got a lot of companies doing a lot of
24 great work there.

25 All right, so now, we've put this all at the end

1 of the day, what's the value to a vehicle? And this is
2 an example from an EPRI-led study on the value of V2G.
3 And this isn't a report that I -- it should be released,
4 soon, from the CEC. I think it's under review. And so,
5 we take the -- we look ahead and see, given our
6 modeling, what is the price for frequency regulation
7 going to be and then, how much can a vehicle make?

8 And, really, I wanted to simply show on this
9 chart the incremental value of V1G to V2G, and there are
10 obviously different assumptions that can go in here, but
11 this is sort of our best base case. And you see, going
12 from dumb charging to smart charging gets you an
13 incremental value per year, per vehicle, of \$154.

14 And then, going to V2G, we saw that, you know,
15 more than double to over \$300. And that was a bit of a
16 surprise to us. A couple of the factors that really
17 drove that incremental value of V2G in this particular
18 case, will be if drivers aren't driving very much and
19 they're driving to work with their battery relatively
20 full, which a lot of drivers are, then managing that
21 little bit of battery space doesn't get you as much
22 value as V2G, where you can empty that battery, fill it
23 up again, and empty it. So, you get a full use of that
24 battery, rather than just a little bit of the charging.

25 And then, you can do a lot better time of timing

1 the charge and discharge to exactly when the grid wants
2 it. So, essentially, those two functions added a lot of
3 value.

4 And then, I'll end with emphasizing, you know,
5 we have a lot of capacity value in here. That's going
6 to be really -- and this is a bridge that we really have
7 to work to meet is translating all this VGI value to a
8 reliable megawatt that a distribution engineer trusts,
9 so they actually, at the end of the day, don't build
10 something, like Jaime was talking about. Because if
11 they don't trust it, they're going to go ahead and build
12 it anyway, and then we really haven't saved the
13 ratepayers any money.

14 So, and we've talked about the need to meet the
15 customers where they are. We also need to meet the
16 distribution engineers where they are of convince me
17 that this is reliable and I can build a smaller
18 transformer. That's what will get us value to the
19 ratepayers at the end of the day.

20 So, I'll stop there and hand it off.

21 MS. SISTO: Thanks, Eric. Now, we'll hear from
22 Jason MacDonald, from Lawrence Berkeley National
23 Laboratory, who as Eric mentioned, has worked with E3
24 and has been doing their own research. So, looking
25 forward to hearing thoughts on this.

1 MR. MACDONALD: Great. Can you hear me? Okay,
2 good. Yeah, I'm Jason. And I've been at LBNL for a
3 while, around seven years, and worked on a lot of
4 different kinds of projects in the VGI space.

5 We have a lot of work happening in VGI and some
6 people are doing larger, more systems-wide analyses,
7 trying to understand the potential. I'm going to take
8 you from 5,000 feet, down to about 100 feet, and talk
9 about a demonstration project that we did at the L.A.
10 Air Force Base, where we were providing frequency
11 regulation to CAISO, and talk about the revenue
12 potential we saw there and some of the issues around,
13 you know, the high-level analyses that we did early on
14 and how we, you know, pared out that revenue pretty
15 quickly.

16 So, for those that don't know what the L.A. Air
17 Force Base was, it was we were basically the aggregator,
18 if you will, of 29 vehicles located on a DOD base in Los
19 Angeles. And all we were tasked to do is come up with a
20 control system that ensured that we had, you know, a
21 sufficient mobility for the vehicles, for the base,
22 minimize charging costs, and then get as much revenue as
23 we can out of the regulation market. And we were an
24 actual market participant.

25 And so, I want to talk a little bit about the

1 revenue potential. And we started this -- this project
2 took a long time. So, I'm giving you a 10-minute talk
3 about a 5-year project, and so a very small piece of it.

4 So, back in 2012, I did an analysis for Chris
5 Marnay, who was the current PI then, principal
6 investigator, PI. And we wanted to see, well, what kind
7 of value could we expect out of the fictional, at that
8 time, vehicle fleet that could end up there. And so, we
9 identified, okay, well, if they're able to participate
10 in the market, if they're full capacity, which the
11 capacity that was going to be there was 15 kilowatts per
12 vehicle, and looking at historical market clearing
13 prices, \$101. We could do that, okay.

14 We had some assumptions and those were like that
15 you can't participate during business hours, 8 to 5, and
16 that there's no energy constraints on bidding because we
17 didn't know what the vehicles would be, how big the
18 batteries would be, assumed they'd be big enough. And
19 that providing continuous services wouldn't have any
20 impact. So, it was a pretty basic analysis, 101 -- a
21 hundred dollars a month.

22 And if you do the same analysis during the
23 period in which we were actually participating in the
24 market, you actually get more money. So, the prices got
25 higher. I like these kinds of graphs. They don't make

1 a lot of sense unless you know what they are. But what
2 it's called is it's a violin plot, and what it's showing
3 is for each hour of the day, over the course of the
4 period, it gives you the distribution of both
5 regulation-up and regulation-down prices.

6 So, from 1 to 2, the distribution on the left is
7 the regulation-up price, the distribution on the right,
8 the lighter blue, is the regulation-down.

9 You can see, like some trends, there's a wide
10 range of prices to capture. So, prediction is
11 challenging. But there are certainly some trends that
12 the regulation-up price, the dark blue, is capture --
13 the highest value times is capturable outside of
14 business hours, so that's good for us.

15 And so, that resulted in, in terms of revenue,
16 two-thirds of your revenue potential is coming from
17 that. Those prices, the regulation-up. The regulation-
18 down, not as much. Most of the higher value times are
19 in the middle of the day, during from January of 2016,
20 when we started participating, to July of 2017. So,
21 you're going to get less of your value from regulation-
22 down.

23 So, this is using the same fictitious fleet. We
24 had a real fleet at this point, but the same analysis
25 with 41 vehicles, that they all make about -- so, they

1 can -- and they're all 15 kilowatts, they can make about
2 \$124, now, with this pricing.

3 But what about when we use the real vehicle
4 fleet? Now, we have to start taking into account the
5 rules in CAISO. And the rules are that you can provide
6 frequency regulation, but you have to ensure that you
7 can provide it for a full hour in both directions.
8 Which means -- there is another product that -- or, you
9 could be classified as a different kind of resource that
10 could only provide it over 15 minutes, but that resource
11 regulation, energy management, isn't appropriate for
12 electric vehicles. We can answer the question why I
13 think that's true later.

14 But, so one hour, meaning that you have to have
15 head room in your battery in one direction and you have
16 to have stored energy in your battery in the other
17 direction. So, your battery has to be twice your power
18 capacity to capture full value.

19 Our vehicle fleet, of 29 vehicles, that was
20 actually at the base, most of them don't have this two-
21 times battery capacity. Some of them were PHEVs, the
22 vans, and some of them were all-electric, the Nissan
23 Leafs, but they tended to have less. So, then, when you
24 account for just the rated capacity of the batteries,
25 you lose a significant portion of your overall revenue

1 potential. Going from 610 kilowatts that could be used
2 to 425.

3 You continue to de-rate, though, because the
4 rate of capacity isn't actually what you can use or the
5 usable range of the battery, right. So, then, you have
6 to de-rate another, in our experience, around 70 percent
7 of the rated capacity of the battery to get to what's
8 usable here. And now, you're at about half of that
9 original revenue potential, someone in the \$60-per-
10 vehicle range.

11 And this is still pretty ideal conditions. I
12 mean, you're participating fully in the market at all
13 hours that you're not available.

14 A lot of people ask us what our -- how much
15 money do we really make and I don't present it, because
16 we didn't really make any money. And that's because --
17 that's for a lot of reasons. This is a -- we had some
18 issues with integration. And then we -- with our
19 scheduling coordinator, with the markets. And then we
20 had, you know, mostly first-generation technology. So,
21 we had a technology issues, things were going out, and
22 things like that. So, to be robust, we often offered
23 much less than we could potentially offer.

24 And the other reason why we didn't make all that
25 much money is the costs. So, these are the costs that

1 we ran into while providing services to the CAISO. And
2 there's all the fixed costs, getting bidirectionally-
3 capable hardware. I don't present that because it's all
4 gen one stuff. And, hopefully, we'll get down to that
5 \$500 adder for V2G someday.

6 And there's also -- but you do have electrical
7 service upgrades, metering and telemetry that's more
8 cumbersome. And we were lucky here because we're doing
9 it as -- we're aggregating behind a single meter. We
10 only have all the resources behind one meter, so we only
11 had to buy one meter, and those meters cost a lot of
12 money.

13 But then, you get to the monthly costs and the
14 most significant of these is a thousand dollars a month,
15 just to be a participant in the market.

16 So, if you want to enter into the ISO market as
17 a resource all by yourself, it's going to cost you a
18 thousand dollars a month. It's hard. You're going to
19 need a pretty big resource to start really making good
20 money in that instance.

21 There's also like the small, the small fees, big
22 segments, your flexible capacity obligation. I think we
23 were hit with that because these resources are both a
24 load and a generator, so you have to pay like the small
25 amount that your load represents towards flexible

1 capacity.

2 And then, and then you have scheduling
3 coordinator fees, which these are remarkably low, to be
4 honest. I mean, our scheduling coordinator was Southern
5 California Edison. This isn't a thing that they do for
6 anybody. They were game, which was great, for the
7 project, but it's not something that they offer to most.
8 And these, you know, \$350, having a dedicated scheduling
9 coordinator providing these kind of services at that
10 price seems a little challenging. So, you probably need
11 to include the cost of becoming your own scheduling
12 coordinator or imagine that that's going to be more
13 significant.

14 And then the last is this network access fee,
15 you know, that getting onto the energy communication, we
16 thought when we started the project was going to be
17 considerably more expensive. But the CAISO worked with
18 AT&T to get an easier route that ended up only being
19 about \$100. It was going to be about \$500 to get onto
20 the network, because they have a dedicated network for
21 all these communications.

22 So, all this stuff adds up to about 50 percent
23 of your overall revenue potential, the ideal case in
24 which we could provide 50 percent.

25 But I will say 50 percent of our revenue

1 potential and the size of the resource that we had. All
2 of these things, none of them really scale aside from,
3 you know, like the capital infrastructure scales with
4 the size of resources, the number of resources. But the
5 monthly transaction costs, the ones I represent here,
6 very few of them scale with the amounts that you're
7 trading on the market. So, larger aggregations are
8 necessary to really make it significant here, in this
9 kind of a resource.

10 So, I just wanted to present this sort of high-
11 level resource potential as an anecdote to the other
12 work that's being done here today.

13 UNIDENTIFIED SPEAKER: I have a clarifying
14 question. Were all those costs per meter versus (off-
15 mic, inaudible) --

16 MR. MACDONALD: So, this is for the whole
17 resource aggregation.

18 UNIDENTIFIED SPEAKER: Just one meter.

19 MR. MACDONALD: Which is one meter. But the
20 resource ID isn't based -- I don't believe it's based on
21 the number of meters. So, like, you could have multiple
22 meters. It's not a per-meter thing, it's a per-resource
23 thing. So, it's really -- like the Navy, the meter data
24 fee and the scheduling coordinator fees, if you wanted
25 to take those numbers as truth, which I wouldn't, you

1 know, for future, I think those might scale. But the
2 others, they're per resource.

3 And if you want to see the final report, it's
4 marked under -- I think you'll have access to these
5 slides, right, they're all --

6 MR. HARLAND: Yeah, all of the presentations
7 from today will be available.

8 MS. SISTO: Thanks, Jason. And now, we have
9 Pamela MacDougall, from the Natural Resources Defense
10 Council.

11 MS. MACDOUGALL: Thanks, Carolyn. I'd like to
12 first thank everyone for being here. I recognize a lot
13 of faces. We need name tags.

14 THE REPORTER: Pull your mic a little closer.

15 MS. MACDOUGALL: Is that better? Okay.

16 I know that a lot of you have invested a lot of
17 time and effort in getting EVs on the ground and getting
18 the infrastructure in place, and it's been quite
19 successful. At least in California, we're getting the
20 EVSE infrastructure in place to where it is right now.
21 So, yeah, thank you for being here and actually like
22 coming together and thinking about our future. I
23 personally appreciate you doing that.

24 I recognize that I'm the last panel speaker and
25 that we're all tired. I'm exhausted. So, I'd like to

1 lighten things up today. Who here has gone apple
2 picking? Yeah, cool.

3 I went apple picking about two weeks ago, with a
4 bunch of my friends. And we were destined to make apple
5 pie. I'm obsessed with pies. It's a thing. I love
6 things. I'm adding carbs, I love them.

7 And so, we decided to drive up state, to about
8 three hours away, and go apple picking. And it's my
9 first time being to like a New York orchard, and I
10 didn't realize there's hundreds of varieties of apples.
11 So, we spent the better part of the day trying every
12 single apple. We weren't allowed to have Macintoshes.
13 And it turned out that by sunset we had about two apples
14 picked, because we needed the perfect size and
15 everything.

16 So, we scrambled to get enough apples to make a
17 pie and by the time that we got home and baked the pie
18 it was midnight, and we were too tired to even eat the
19 pie.

20 So, I think the main thing that I learned from
21 that is like sometimes we get bogged down on all the
22 little, itty-bitty details that we're going to miss out
23 on eating the pie. And I feel that's what's going on
24 right now with VGI. There's my apple pie story.

25 So, California has some pretty ambitious goals

1 and I think they're going to get even more ambitious in
2 the coming years, like 100 percent clean energy by 2045.
3 Everybody's been dropping the stats down, but I'll
4 repeat them.

5 1.3 gigawatts by 2024. And I imagine that
6 that's going to grow. And, obviously, 5 million ZEVs on
7 the road by 2030, with EV infrastructure in place to
8 match that. Again, hoping that that's going to grow.
9 And we want to do this in the most cost-effective way
10 that's beneficial to the utility, to the EV owners, to
11 the EVSE operators, and any other like third-party that
12 wants to get their thumb in the pie, as well.

13 And I think that VGI is the key to that. We all
14 are hear because we recognize a value in VGI. And I
15 feel like we're getting stuck on cost benefit analysis.
16 And while they're important, we're slowing down process.
17 And we need to start looking market opportunities, now.
18 We need to start making business opportunities for VGI
19 now, and focus alongside that on these other technical
20 details.

21 And how can we get the economics in order?
22 Well, one thing that we can do, and this has been
23 mentioned a number of times in this group today, is a
24 storage mandate, allowing V1G to participate, V2G can
25 participate, I think even thermal devices can

1 participate. But for some reason, V1G can't.

2 And I think a lot of the technical details that
3 are coming up could be resolved if we create this
4 business opportunity for people.

5 Another thing I see is getting the market value
6 down to the person that's actually investing the largest
7 capital cost, which is the EV, itself. Tesla cars are
8 pretty expensive. I can't afford one. But the people
9 that do invest in these electric vehicles, we need to be
10 able to get a price incentive down to them where they
11 can shift their load to an optimal time when the sun is
12 shining, and when the grid needs it the most.

13 So, I think we need to start getting the
14 wholesale market prices down to the customer and see how
15 they respond.

16 And we talked about VGI as a storage. I know
17 this LBNL study has been brought up a number of times,
18 so I just wanted to go into detail a bit about that,
19 because I have worked with the guys that have done the
20 study.

21 So, they looked at the amounts of cars that were
22 going to be on the ground by 2030, and they evaluated
23 their driving needs, and made sure that their cars were
24 all full and that they were able to manage their daily
25 driving schedules. And still, with using V1G, they were

1 able to get 1gigawatt of storage. And with V2G, 5
2 gigawatts of storage. So, even V1G made it up to like
3 three-quarters of a storage mandate that we have in
4 California.

5 Now, let's look at the cost there, like costing
6 utility-based storage, and V1G or V2G. So, V1G was
7 about a tenth the cost of like fixed storage. And V2G,
8 I'm sure there were other costs, but it's still
9 significantly cheaper than like fixed utility-based
10 storage. So, we need to like offer that opportunity now
11 to get that technology in place for the longer term.

12 And I feel, when we're going to CPUC meetings,
13 and PUC meetings in different states, we always have
14 pushback from a lot of energy storage providers,
15 particularly the batteries. And I honestly don't think
16 it's going to be a knockout competition when it comes to
17 that. I think they can work alongside with each other,
18 fixed storage and GI.

19 Because I would like you to tell you which rate
20 that you have or which program you have where you have
21 100 percent adoption. We're not going to get all of the
22 cars participating on the storage mandate. So, having
23 the few that want to access it participate, it's going
24 to create a more fair market for everyone.

25 Moving on to the utilities. The utilities have

1 made a lot of headway on progressive rates. I mean,
2 Dean mentioned some pretty progressive rates coming out
3 for SCE. And the PUC has invested billions in an
4 infrastructure program, and they have billions more
5 happening. But there isn't really anything in place for
6 them or any value for them to invest in VGI. There's no
7 payback for them. For them, if they get a higher load
8 of people charging on peak load, it's more value for
9 them to invest in the grid, themselves. They'll put
10 copper in the ground as opposed to having a more cost-
11 effective solution -- not cost effective, but for the
12 ratepayer a more efficient solution, such as VGI. So,
13 we need to have a totally performance incentive
14 mechanism in place that would ensure that.

15 And I know that SDG&E has proposed a performance
16 mechanism and I really think that we should start
17 pushing forward with this so that we can create an
18 incentive to align the utilities' interests, as well as
19 like the societal interest.

20 Now, let's get down to the customer and rates.
21 I think wholesale time-of-use rates are a really great
22 first step at getting the value of VGI and other demand
23 response options out there, like heat pumps, and turning
24 off your refrigerator -- not your refrigerator, but your
25 dishwasher when the prices are lower.

1 But right now, the adoption rate is like one in
2 four. So, we need to have automatic subscription to
3 time-of-use rates. And as well, focus more on educating
4 these customers on how to use time-of-use rates. There
5 has been a severe lack of education for customers on
6 what that means and what means for their bills. So,
7 that's the first step and we're getting there.

8 But we also have EV rates coming out, now.
9 Actually, California, as a whole, has the most
10 progressive EV time-of-use rates in the states. And I'm
11 going to give you an example of New York, so I don't
12 offend anyone here.

13 New York has an EV time-of-use rate and it was
14 published in the Synapse Report that only four people
15 are using that time-of-use rate. Four, in all of New
16 York. And why? Because the metering, the second meter
17 you need to get to EV time-of-use rate is too expensive.
18 It's \$2,000. How long is it going to take you to get
19 that money back? The rates are progressive, but they're
20 not that progressive.

21 So, we need to look at other metering
22 opportunities. How can we do that? We can, one, offer
23 rebates. I don't think a lot of us are going to get on
24 board with that. I would be okay with it.

25 Submetering, seeing if we could get a

1 submetering program, especially like for multi-unit
2 dwellings. Or, third-party metering. So, let's look at
3 like SENS has something that you can use, it's about
4 \$300. Using the meter in the EVSE. Using some of the
5 telemetrics in the car. We don't need utility great
6 meters for hourly rates.

7 And there's been some pilot programs that have
8 looked at submetering in California, but I think we need
9 to now move beyond pilots and get that into practice.
10 It's time.

11 And so, I'd like to end a bit about we're doing
12 really well with EVs. They're not crashing the grid.
13 And I think that Nancy Ryan really had the wisdom to
14 force the utilities to publish a joint research report
15 every year to evaluate what the low are doing, how man
16 EVs are on-peak and off-peak, and like how these rates
17 are working. But they've been primarily focused on
18 light-duty vehicles. And as Dean mentioned, medium- and
19 heavy-duties are like the killers that are going to
20 happen on the grid. We need to start investigating them
21 now, so they need to be included in the scope of the
22 joint IOU report, so that we can prepare for that in the
23 long term.

24 MS. SISTO: Thanks, Pamela. And thanks to all
25 of our panelists here for providing their feedback and

1 their wisdom on their experiences to date.

2 (Applause)

3 MS. SISTO: I came up with a few questions while
4 listening to everybody, so I'm going to take the
5 moderator advantage. But I do want to make sure
6 everybody else in the room has time to ask questions and
7 give their feedback to us state agencies.

8 I guess one question coming from the CPUC side,
9 and something that was brought up by everybody, was kind
10 of the idea of VGI serving as a flexible load. And
11 we've heard about different rates that exist that are
12 supposed to encourage specific flexible loads from
13 vehicles. But as Eric mentioned, we'll have flexible
14 loads from a lot of different places.

15 So, one question I'd like to pose to everyone on
16 the panel is do we need different utility tariffs in
17 place to apply to all these different flexible loads or
18 should we be looking to design utility tariffs that can
19 provide value to a flexible load, however it exists?

20 MS. FANG: Having spent a lot of time in sort of
21 the rate design space, you know, there's a lot of this
22 in where looking at the pricing I don't know that it
23 necessarily makes sense to offer one use. So, you know,
24 we were talking about the heating a different price than
25 EV.

1 So, when we look at the pricing, it seems like
2 regardless of how a customer chooses to use that energy
3 that they should be charged an equivalent price.

4 And so, to me, the flexibility, if we're going
5 to create, you know, the rate I described, it should be
6 available for everybody. You do have distinctions by
7 customer class because of revenue allocations, cost of
8 service. But as far as like within those classes, it
9 seems like the more equitable approach is to make it
10 available to all.

11 MR. TAYLOR: I would agree that it would be for
12 all. So, we offer two kind of rates on the residential
13 side that are oriented towards EVs. One has half of one
14 percent of EV drivers, you know, adopting it,
15 essentially. And the other has about, I think, 20 some
16 percent, maybe 25 percent. I haven't checked the latest
17 numbers.

18 Now, and that is -- and in the future, I think I
19 mentioned that residential rates are going onto
20 mandatory or, I guess technically, default. If you
21 really don't want to be on it, you could opt back in to
22 the old, tiered system. But for the most part, people
23 are going to be on time-of-use rates, and so it will
24 apply broadly to all appliances whether it's, you know,
25 a water heater or air conditioner.

1 We've had these time-of-use rates that were
2 designed with EVs in mind for over 20 years. They've
3 gone through many changes over the years. I think early
4 on one of the issues was, you know, you had to worry
5 about your air conditioning bill wiping out any savings
6 you get from charging off peak. But I think we've
7 dramatically, you know, improved that with the latest
8 version of that, you know, of that rate.

9 And then, but I would add you can also put
10 things on top. I mentioned the Low-Carbon Fuel
11 Standard. That program essentially would go to the
12 aggregator. The way CARB set it up, it's probably going
13 to go to the automakers because you have to provide, the
14 times, the kilowatt hours, and then the killer is the
15 VIN number. And so, it's really hard for the charging
16 station makers to not have that. But, you know, that
17 doesn't require revenue-grade metering. The automakers'
18 own metering that they could report via telematics,
19 could provide that. So, that would be on top of all of
20 this, and then it's kind of up to the automaker if they
21 want to provide that to the -- you know, to the actual
22 end-user.

23 MR. CUTTER: Let me chime in with two brief
24 points. One is, wherever we've worked with utilities on
25 this issue outside of California, and I don't think it's

1 necessarily different in California, they've been
2 uniformly, we don't want different rates for different
3 technologies. We want one rate that works for customers
4 that have the ability to manage their load.

5 And two, that TOU rates do great for a lot of
6 kinds of resources, but particularly energy storage and
7 electrical vehicles, they do leave a lot of money on the
8 table compared to a day-ahead signal, or some kind of
9 hourly signal, like the VCI rate from San Diego.

10 So, if we actually modeled energy storage under
11 San Diego's rate versus under a TOU rate, you know, it
12 more than doubled the value it's providing to the grid.
13 So, we want to make sure we don't just stop at TOU. We
14 can't let -- we have to manage the bill impacts for a
15 lot of people on TOU.

16 But if we can get to storage and EVs with more
17 dynamic rates that unlocks a lot of value.

18 MR. TAYLOR: So, I would be shocked. I mean, I
19 gave you an example, you can save \$600 to \$800 a year
20 just being on these time-of-use rates. And so, if you
21 can double that, I find that hard to believe.

22 MR. CUTTER: Well, I'm saying in terms of the
23 value provided to the grid, not the savings to the
24 customer.

25 MR. TAYLOR: Okay.

1 MR. CUTTER: Yeah.

2 MR. TAYLOR: Because, I mean, one thing I didn't
3 put in my presentation is I think the big value is
4 always to the driver. You know, there's also some
5 avoided costs to the grid, but a lot of those are hard
6 to monetize and actually pass it on to anybody. And
7 then, the smallest of all the values is like the CAISO,
8 or something like that.

9 You know, the big one is still, yeah, the most
10 complicated. So, kind of doing the simple things first
11 is you save money to the drivers, you know, is -- and
12 that's why you hear a lot of us talking about the cost
13 benefit relationship. A lot of these things that we're
14 talking about, yes, they may be benefits, but what is
15 the cost?

16 And so, you know, the beautiful thing about
17 indirect controls or just publishing prices is it's
18 extremely low cost. There's essentially no cost. It's
19 just up to, you know, can you affect behavior.

20 I know, in the early years of my career I was on
21 the air pollution side, and you always started with the
22 most cost-effective, simplest things first, and then you
23 worked on down. And so, I think that's the solution
24 here on VGIs, you also do the simple, low-cost solutions
25 first. And then, you know, you incrementally go after

1 what's next, and what's next, and what's next.

2 MS. FANG: Though I will say, when we applied
3 this hourly dynamic rate to our residential customers,
4 from TOU they did see huge savings. And so, you know,
5 you ran into certain problems where, in San Diego, the
6 hot months are August. It's like August and September.

7 And so, what you saw from customers is because
8 what you're moving is all of that high-cost hours out of
9 those low-priced months. And so, they saw a huge
10 savings throughout the year. And if they were
11 responsive, it continued throughout despite the higher
12 bills that they saw in August and September.

13 And so, we did have challenges with the people
14 who weren't able to respond which, of course, that rate
15 was not the right rate for them, then.

16 You know, it is a rate for -- you know, not for
17 everybody. It only works as an optional rate for the
18 people to opt-in. But for many customers, actually,
19 they saw a huge savings above and beyond TOU.

20 MR. MACDONALD: I'd just add that the -- while I
21 totally agree that it makes sense that the electricity
22 service, the price of the electricity service should be
23 available, the same price should be available to
24 everyone no matter what you're going to use that for. I
25 do think that targeting these EV customers with these

1 more advanced rates is really valuable because it
2 engages them in a way that -- I mean, everybody is
3 willing to think about -- you know, if people drive out
4 of their way to get a few cents difference in gas,
5 they're willing to think about the fuel they use in
6 their vehicle. And when you get an EV, you have now
7 moved that to electricity.

8 And so, it engages you in the electricity and
9 understanding the value of your electricity in a way
10 that no other appliance really does. So, it is
11 important, I think, to target them directly.

12 MS. MACDOUGALL: I'd like to kind of expand on
13 that. I do think that being able to couple all of the
14 flexible loads on one rate in the long run could be
15 advantageous and fair. But right now, we want to get
16 more EVs on the road. And the business case or at least
17 the cost comparison of combustion engines versus EVs,
18 yeah, it's still a hard decision for EV buyers. And to
19 have a rate that can, if they do smart charging, lower
20 the cost of ownership is valuable, I think.

21 MS. FANG: I completely agree with both of those
22 that, I think, for a couple of reasons. EV customers
23 are not every customer, right? These are already
24 customers that are a little more energy educated, a
25 little more informed, and definitely more engaged. And

1 so, my comment had more to do with making it EV-only and
2 excluding others, which I think is different.

3 But I do think that they should be sort of a
4 very targeted audience for those type of rates.

5 MS. SISTO: That was a good segue to my next
6 question. So, now, everyone in California owns an EV
7 and is enrolled in these great EV rates we've developed.
8 Can utilities recover their full cost if all of the EV
9 drivers, including medium- and heavy-duty, are charging
10 at the lowest cost hours?

11 MR. TAYLOR: Rates are not only a science, but
12 an art. So, I'm pretty sure you make assumptions on how
13 many people are going to be charging on-peak, off-peak,
14 mid-peak. And if it doesn't turn out that way -- I
15 think the simplest rate analogy I've seen is like that
16 first the utility has to go bake the pie, and then the
17 rate design is how do you cut up the pie. And then, a
18 few years later, you have another chance. If you didn't
19 cut up the pie the right way the first time, you redo it
20 to collect the revenues. So, yeah. So, you're not --
21 if everybody's only charging off-peak, then you're going
22 to have to redesign the pie.

23 MS. FANG: I'd throw out two things. One is
24 that as customers continue to still leverage, you know,
25 other aspects of the utility system, you know, grid

1 investments, things like that, there would need to be
2 some structure that would still provide the compensation
3 for those investments to continue to be safe, and
4 reliable, and robust.

5 The one thing I would say, though, is that if,
6 literally, everybody is moving into the super off-peak
7 and, you know, we're talking about that 5 plus million
8 vehicles, it will be the new on-peak.

9 And so, that's where for some of this, as we
10 start to scale up, we will need to look at sort of how
11 do we do managed charging so customers are sort of
12 staggering that load, rather than still sticking to that
13 sort of conventional this is that time period that
14 you're charging in.

15 Because, otherwise, what will happen is it will
16 set up a situation where we're basically chasing that
17 peak. And the concern would be that, you know, you
18 start to run into sort of unsustainable situations.

19 MR. TAYLOR: I was going to add there's another
20 mega trend that might affect all of this. I'm surprised
21 we haven't even talked about it at all today. Which is,
22 you know, secondary use of batteries. I mean if,
23 literally, I have this many cars, how many second-use
24 batteries are out there, and where could they be, and
25 how could they be maybe sucking up some of these other

1 services, ancillary services, energy services, peak
2 shaving, et cetera. There's a lot of -- it's very
3 complicated and so that's just another huge, you know,
4 mega trend I think that's out there. If you're going to
5 have 5 million EVs someday, you'll have that many second
6 batteries that are -- before you recycle them, you could
7 still be using them for these other services.

8 MS. SISTO: I'm glad to open it up, if people
9 have questions.

10 MR. HARTY: Hi, I'm Ryan Harty from Honda. And
11 thanks, Jeremy, for keying up our comments and whatnot.

12 Honda is currently operating a V1G system in
13 Southern California, kind of as a beta test. We call it
14 Smart Charge Beta Program. Currently, using our app,
15 customers tell us for any given location, and they can
16 set different location-based profiles of how they want
17 their car to charge. So, they just tell us what SOC
18 they want the car to charge to at that location, and the
19 time they want it to complete the charging. And then,
20 from whatever time they plug in until that time, all of
21 the charge management is on Honda.

22 And we basically set the schedule based on
23 predicted prices and then adjust that schedule in real
24 time.

25 Currently, today, we're doing this with five-

1 minute fidelity, on/off, on/off in five-minute fidelity.
2 And we can incorporate demand response events and
3 reschedule around those. So, we're taking into account
4 both, you know, the wholesale market and distribution
5 needs of the system.

6 And I would just offer that from, you know, a
7 system and operation stand point. Like time of use,
8 when you're operating like that, time of use actually
9 kind of becomes a little bit meaningless, if you're
10 always choosing lowest cost intervals. You know, what
11 if those lowest cost intervals are now outside of the
12 parameters of the time of use rate that was just
13 designed, and just implemented, and we just finished
14 training customers about. Or, what if they're different
15 from this side of the service territory to that side of
16 the service territory.

17 And we can do things with system design, and
18 sending, you know, start/stop charge commands to cars
19 that are, you know, based on circuit design polygons of
20 that long that we can have. Like, we can do this level
21 of integration, like we're already doing it today at the
22 SubLAP level, with our EVs.

23 And so, I would just suggest that VGI rates and
24 how we're thinking about VGI, we need to move away from
25 time of use as the basic way of thinking about it, and

1 think about it in terms of how do we maximize the value
2 of this flexible resource to do what we need it to do.

3 And today, I've heard lots of different goals.
4 I don't even know what all the goals are of VGI, right.
5 Avoid the circuit peak, and avoid the system peak,
6 maximize renewable energy consumption, minimize carbon.
7 We have lots of different goals. And I think if we
8 stack up all the goals, you know, smart tariff designers
9 and whatnot can develop tariffs that can maximize these.
10 As long as we can get appropriate things to optimize a
11 system around, we'll be able to get the result that we
12 need.

13 And, anyway, I think that's something we can do.
14 But, anyway, I want to move away from TOU as a way of
15 setting VGI policy. Thank you.

16 MR. TAYLOR: I like what I heard in that there
17 is a lot of different competing goals out there and that
18 it would be nice to have a little bit more clarity on
19 how they rank compared to each other. Because there
20 are, you know, obviously goals of saving carbon, saving
21 money to the driver, avoided cost to the distribution
22 grid. You know, it's all -- it can get very complicated
23 very fast and I think some more attention to that would
24 be useful.

25 And maybe, just hearing Honda speak, I mentioned

1 earlier just this idea of competing business models
2 between charging station makers and automakers. And
3 what a lot of people don't realize is that the -- I'm
4 aware of at least six, maybe eight automakers that are
5 interested in just bypassing the charging station and
6 going straight to the grid. Which is a very interesting
7 idea and you might be able to save, in many use cases, a
8 lot of money by doing that. And also, people forget,
9 you know, the automakers need to decide what to put on
10 their car as far as communication protocol. They also
11 have some very valuable customer information, battery
12 state-of-charge information, and other things like that.
13 So, it's a very intriguing thing that these automakers
14 are talking about.

15 DR. HUMMEL: Good afternoon. My name is Holmes
16 Hummel, founder of Clean Energy Works. Thank you for
17 holding this workshop and for creating a national beacon
18 as the CEC undertakes updating the roadmap.

19 There have been a couple of different comments
20 this afternoon that I wanted to pick up on just for this
21 economic panel. And one is that we've heard multiple
22 people call for testing at scale. And we've already
23 heard multiple call for coordination among agencies.

24 In the next couple of weeks, I think, CEC is
25 going to announce \$75 million worth of awards for the

1 School Bus Replacement Program. It's a ready-made
2 testing platform, an opportunity that would unfold in
3 the next five years to test some of the ideas that we've
4 heard about from the utilities, at scale.

5 We also could expect that within five years,
6 California might even be restive enough to update the
7 roadmap again. Which means that we should be thinking
8 about some of the things that we can do in the next five
9 years that would inform the next roadmap.

10 One thing that I'd like to ask, especially the
11 utility and utility regulators that are here on this
12 panel, is about incentives that the utilities can
13 receive for helping accelerate the deployment of this
14 on-board storage, rather than just waiting for the field
15 of dreams to arrive. But actually, seeing that the
16 value proposition of vehicle-grid integration can affect
17 the rate at which drivers choose EVs, and fleet managers
18 choose to transition their fleets to electricity.

19 Clean Energy Works has done some financial
20 analysis that shows that those incentives can be very
21 rewarding for both the fleet managers and for the
22 utilities. And it could actually take some of the grant
23 dollars that are available in programs here, in
24 California, multiply them by a factor of ten or more.

25 We'd be happy to share that as part of the

1 roadmap process continuing. But I think it's useful to
2 consider what we might be able to do when we think about
3 the vehicle-to-grid integration of the value
4 proposition, not just the operations and the charging
5 costs.

6 MR. HARLAND: Just if you press the button, the
7 light will turn green.

8 MR. FARHAT: Now, it's working. Sorry about
9 that. Karim Farhat from Pacific Gas & Electric, PG&E.
10 And so, I'm going to be holding my laptop because I'm
11 going to be needing my notes. I have three comments, so
12 I'm going to make them very briefly. And then, I would
13 love the panel's reactions to that.

14 The first one is -- so, all of them are focused
15 on quantifying the value of VGI. The first one is
16 around scale. And I think that both pilots and system-
17 wide studies can add a lot of benefit to quantifying the
18 value of VGI, but we need to keep in mind scale.
19 Because the pilots are going to give you a piece of the
20 equation and then, on the other side of the spectrum,
21 you're going to have the benefits and the costs for the
22 system. And somehow, we need to translate between these
23 two pieces, between the micro value and the macro value.

24 So, to give you an example, when you're talking
25 about a pilot, you might say I have a charger, I'm going

1 to upgrade the charger to be able to incorporate VGI
2 capabilities. That's great.

3 But if you're talking about a system-wide -- if
4 you're talking about system-wide affects, you might need
5 to add additional chargers because you're shifting
6 charging from residential to commercial. So, it's not
7 only about upgrading existing chargers, you might need
8 to add the whole new infrastructure. So, just making
9 sure that we're able to capture -- when we're talking
10 about value we're able to capture the benefits and the
11 costs, both on the pilot level as well as on the system
12 level.

13 The second point is, obviously, about the
14 inclusion of costs. There has been great work and great
15 studies that have looked at the benefits of VGI. I want
16 to emphasize something that the panel have already
17 mentioned, which is we really need to know what the cost
18 of VGI is, and what the cost of VGI capabilities are.

19 And then the final point, which I was actually
20 surprised we didn't touch on a lot, is how do we look at
21 the value of VGI as part of the value of all DERs? And
22 how do we make sure that the methodologies that we are
23 using to quantify the value of VGI are also consistent
24 with the methodologies that we're using to quantify the
25 value of other DERs because that's important from a

1 resource planning perspective. So, something to keep in
2 mind.

3 MR. SCHORSKE: I thank you. Richard Schorske,
4 EV Alliance and ZNE Alliance. I want to just echo
5 Holmes Hummel on the question of getting to scaled
6 pilots quickly with the E-school bus opportunity. Just
7 to put an extra exclamation point on that, working with
8 the Prop. 39 team, they put out bids to the OEMs, or bid
9 information requests to say how much would it cost to do
10 V2G enablement on their buses, and came back with \$5,000
11 per bus. Which for many of us was a surprise and a
12 welcome surprise.

13 So, my understanding is they're processing that.
14 I don't know if they've made a decision. But certainly,
15 for all of us who are V2G advocates, that's an
16 extraordinary opportunity, and one that I think we
17 should really jump on at the State level.

18 And along the same lines, I'm sure a lot of you
19 are aware of the large-scale Nissan pilot in the UK, a
20 thousand vehicles. I believe Nuvve's involved. I
21 understand Nuvve has also a very cheap EVSE device, in
22 the \$2,000 range, if I'm right about that. Which,
23 again, is a breakthrough price point. And I would love
24 to see a large-scale, light-duty pilot at the State
25 level that would be of that magnitude and enable us to

1 get moving more quickly with some really scale pilots.

2 A final example would be medium-duty trucks, and
3 that is another area where most of the medium-duty
4 electric truck manufacturers are either delivering, or
5 promising very soon to deliver V2G-enabled trucks. And
6 there's no reason that there shouldn't be some kind of a
7 mandate with HVIP that says, if you're going to collect
8 a rebate you should have either -- there should be a
9 significant incentive up or down for VGI -- or, excuse
10 me, V2G enablement there, as well as a mandate for V2G-
11 enabled charging stations in the medium- and heavy-duty
12 segment.

13 So, those are just a few ideas on getting to
14 scaled pilots, which I think is super important.

15 And last, I'm just going to mention one other
16 area and that is how do we get scaled adoption of the
17 EVs, themselves, at the consumer level beyond what's
18 planned with rebates right now. I think we're all --
19 should be biting our teeth as to whether we could get to
20 5 million with the current rebates, notwithstanding
21 Model 3 and everything else.

22 And, you know, in other markets we see that
23 there needs to be higher rebates to get to 5 to 10
24 percent plus penetration, especially over 10. Other
25 markets are broad. And so, the whole issue of the

1 possibility of a feebate, I think needs to be assessed
2 very carefully. For a very small amount of money for
3 the high-end ICEs, you can fund a very large of feebate
4 for low-end EVs. And that's an idea whose time, I
5 think, has come to really look carefully at how we
6 cannot drain the GGFR revenue and, yet, provide a very
7 substantial rebate above and beyond current CVRP. Thank
8 you.

9 MR. MACDONALD: I want to make a comment -- oh,
10 go ahead.

11 MR. TAYLOR: I would just comment that we, at
12 least at Edison, aren't really using the word pilot much
13 anymore. We're calling for 7 million electric vehicles
14 by 2030. So, even on VGI, we're talking about large-
15 scale demonstrations. I think some of the automakers
16 are ready to go with telematics that could go, you know,
17 across the entire system, covering all the circuits in
18 the thousands, if not tens of thousands.

19 MR. MACDONALD: And I, as someone who's done
20 pretty close to scale demonstration pilots, I think it's
21 really, really important that we've already done our
22 homework, our simulation work that needs to be done to
23 ask the -- so that we can ask the right questions of the
24 pilots. I wholeheartedly believe that we have a lot of
25 technology that can provide these solutions.

1 And so, I'm not sure, maybe I'm wrong, but I
2 haven't been shown that there's a lot of value in
3 throwing taxpayer dollars into pilots instead of --
4 unless we know what the question is that we're asking.

5 Now, I think that it's a great -- the bus pilot
6 that has already happened, they're already putting a lot
7 -- there's a lot of cost share that you could get out of
8 that, so there's a good reason to go for something like
9 that. But I just want to caution that we need to have
10 done our homework before we go and throw more money at
11 pilots.

12 MR. SCHORSKE: And just to be clear, what I'm
13 talking about is actually a mandate with respect to the
14 medium-duty. I don't think we have to add more money
15 into the system.

16 MR. HARLAND: Hold on.

17 MR. SCHORSKE: Just to respond, I think I'm in
18 general agreement on the pilot point that you just made.
19 What I'm talking about is an actual mandate on medium-
20 duty, as well as on E-school buses. And essentially,
21 you know, the figures that we've seen based on that
22 incremental cost are such that there's a real ROI there.

23 And if you've followed the national V2G school
24 bus numbers, again it's very, very clear there's a
25 strong ROI.

1 So, the manufacturers are willing, on the
2 vehicle side, to make that standard equipment. All we
3 need to do to enable it is to make sure that it's a
4 requirement on the EVSE side and that the fleet managers
5 know how to do this, and are encouraged. And that could
6 be done by means of the HVIP incentive.

7 MS. MACDOUGALL: I think I'd like to just -- I
8 completely agree with you, there's a lot of value in
9 V2G, especially in the school bus realm. But I do want
10 to reiterate what Jason said. Especially if we're
11 looking at the VGI roadmap, and looking at it in the
12 future, and more advanced technologies and,
13 particularly, the cost benefit analysis and value of
14 VGI, extremely expensive pilots are not going to give
15 you that answer.

16 I mean, they're great for like scaling up and
17 getting user behavior and like seeing the impact of new
18 rate design. I am on board for that and educating the
19 customers.

20 But if we're going to be looking at what it's
21 going to look like in 2050, if we get all the EVs on
22 these rates, or on these new real-time prices, I think
23 like research and simulations are like the first step to
24 looking at that problem.

25 MR. MACDONALD: So, to add. So, all I would say

1 is that we have to be very clear about our question when
2 we do a pilot. And I think that there -- you identified
3 some questions in your response. It's, you know, how do
4 you engage people who aren't aware of this and what's
5 best -- including a work that might lead to a best
6 practice for engaging fleet managers in grid activity.
7 It seems like a realm of questioning that you could
8 answer and you're not going to answer that through
9 simulation, it's through a pilot of some kind.

10 But being very clear about what our questions
11 are because I think that we tend to push -- or, at least
12 in the past we've pushed pilots that maybe don't have
13 clear questions. And we get a response to them and some
14 of them don't prove all that useful.

15 MR. BOYCE: Bill Boyce, with SMUD. I wanted to
16 build off some comments Karim made, and then also Cindy,
17 and also kind of the earlier session about where the
18 puck's heading.

19 When we're looking at DERs at SMUD, we're really
20 looking at no difference between a hot water heater
21 control versus an EV control, and energy is energy, and
22 getting the pricing signals right, as well as possible,
23 is what we're looking at.

24 And the types of things we start to talk about
25 in more in the R&D world is, you know, EVSE goes away at

1 home. And you have something like a universal inverter,
2 plug and play, that can handle your photovoltaic array,
3 it can handle your car, it can handle your battery pack.

4 So, all these energy streams really come
5 together and energy's energy, and what price you have
6 going forward for, like I said, for your car is the same
7 as what you have for hot water control.

8 So, you know, there's also that. And I wanted
9 to point out, when we get into cost of these, for us and
10 kind of back at Ryan, starting to get to the point where
11 everybody can do what San Diego's done and send out day-
12 ahead hourly pricing signals, and I think that goes a
13 long way. And that's a really good way to help
14 customers save money charging.

15 But there becomes a big difference when we start
16 going to I need four-second response time for a
17 distribution capacity, reliability concern. And when we
18 start getting into those really critical timelines,
19 those are the types of costs that Jason kind of showed
20 in the L.A. Air Force Base, that get to be really hard
21 costs.

22 And this is where I start to think, you know,
23 passive control, being able to just have pricing
24 signals, allow people to save as much money as possible.
25 It can be way cheaper than having to have that much

1 controllability for like a four-second dispatch for, you
2 know a regulation services market.

3 So, you know, how far do we go, how fast,
4 where's it all going? All the energy's heading to some
5 sort of controllability.

6 But, you know, the last one I'll put in there is
7 really, you know, some of these communication standards,
8 when you talk to us, we'd like it to all be one standard
9 that the hot water heater can use, the PV array can use,
10 that inverter can use, and the car can use. So, not
11 having to have individual technology-specific
12 communication protocols is, you know, going to be
13 beneficial in those types of universal solutions.

14 MR. MACDONALD: I'm going to add onto that,
15 again. I think that the challenge with the four-second
16 is often -- or, the very expensive things are metering
17 and verification. So, we could consider maybe we don't
18 need the kind of -- I mean, it's kind of heretical, but
19 maybe we don't need very accurate meters. Maybe we can
20 handle things -- I mean, like the response, the ability
21 of an EV to respond to a fast signal is not too
22 difficult, as long as you can get it via the internet it
23 is. But it's verifying that they responded in exactly
24 the way that you expected is harder.

25 MR. BOYCE: Yeah, some of the things we've

1 started to along there, and maybe these are for housing
2 standards but, you know, Wi-Fi reception in a house is
3 kind of spotty, especially out to the garage. So, when
4 we get into codes and standards where we have a 40-amp
5 circuit going out to the garage, why not put in a CAT-5
6 line at the same time, so we've got it directly into
7 that service and being able to do that.

8 You know, the other thing that we haven't done
9 and I'd like to really have the model, or think about
10 it, but if we get a good -- I'm starting to lose it here
11 -- if we get a good response to just the passive pricing
12 signals and being able to shift load around to where we
13 want it, that's also going to take a lot of pressure off
14 having to do the critical reliability type things.

15 And so, if we're able to passively get 80
16 percent of the load shape we want, think about how much
17 that would then take the pressure off having to have
18 those high controllability assets.

19 And the other thing I think about is if we're
20 able to get 80 percent of the load shape, you know,
21 having dedicated, easier to control high-value control
22 assets becomes much more cost effective.

23 So, it's kind of a multiplier effect if we can
24 get a lot of this load shape passively.

25 MR. TAYLOR: I wanted to comment on the metering

1 cost really quickly. That's an example of where maybe
2 some different agencies are thinking different things.
3 Where, you know, weights and measures is talking about
4 half of one percent and really, you know, very expensive
5 kind of process to verify everything.

6 And CAISO was talking about something much more
7 generous. You know, the Low-Carbon Fuel Standard, over
8 at CARB, does not require that kind of incredibly,
9 utility-great asset, you know, metering. So, those are
10 three different agencies, you know, all with different
11 numbers. And I haven't even mentioned the PUC.

12 MS. JOHNSON: Hi, everyone, this is Kelsey
13 Johnson, with Nuvve. I am a project manager with Nuvve
14 and I manage three of our several projects here in
15 California. So, like you, Jason, I'm on the ground
16 making these things happen.

17 So, I wanted to kind of reiterate some of the
18 things you said in terms of how we actually -- we do
19 need to walk before we run in some of these things. We
20 need to make sure we understand the value streams and
21 how to implement them.

22 But at the same time, we have the technical
23 ability, now, to do these things. As the gentleman over
24 there mentioned, we're going to be working with Nissan,
25 in the UK, to work with a thousand vehicles in that

1 situation. And in the past, we had aggregated 19,000
2 stations in the Netherlands, to provide V1G services to
3 the TSO there. So, the scale is there, technically
4 speaking.

5 But I think the one funny thing that has not
6 come up today, which I find funny, is that battery
7 warranties is really the elephant in the room at the
8 moment, in terms of being able to really scale this
9 technology. And so, that's something right now that I'm
10 dealing with in the midst of our EPIC, CEC-funded
11 project that's at UC San Diego, is we're scaled to or
12 we're slotted to have 50 vehicles, statewide, scaled out
13 through this project.

14 CEC, unfortunately, will not pay for 50
15 vehicles, which is totally understandable. But I'm not
16 really sure where I'm going to get those 50 vehicles
17 from, especially given some of the OEMs do not currently
18 warranty their batteries and Nuvve cannot buy all those
19 cars.

20 So, that's something that I think is an
21 interesting discussion that I would like to encourage
22 the OEMs to have a further discussion with those of us
23 who are interested in seeing bidirectional vehicles
24 scale and commercialize. And how can we protect those
25 batteries for you? How can we make sure that that is

1 something that will allow you to keep your bottom line,
2 and be able to allow to go through that
3 commercialization process?

4 MR. HARTY: Ryan Harty, from Honda. Maybe just
5 specifically to address that, when the product is
6 designed with the end-use in mind, for example, to
7 introduce a vehicle into the market as a V2G-enabled
8 vehicle. Well, then, that becomes our problem to worry
9 about and we design the battery, and the system, and the
10 appropriate safety systems in order to make sure that
11 that product meets the customer's expectation in the
12 service that we expect it to be in.

13 I think we're in a funny place now where, you
14 know, vehicles being used for pilots are -- of course,
15 they were not intended for or not envisioned to be used
16 in deep discharge in pilots, even though there's nothing
17 onboard the vehicles that would prevent them from being
18 used in potentially damaging, battery-damaging systems.
19 So, of course, in those situations there's no warranty.

20 But if we design, if we know the car's going to
21 be a V2G-capable car, and we design it for that purpose
22 then, you know, that's our problem and we have to worry
23 about it.

24 And then, that brings me back to the question of
25 pilots, themselves. From the automaker perspective,

1 doing something for a vehicle launch into the market is
2 as much work as doing something for a pilot in terms of
3 the amount of engineering we have to do to develop a
4 car, get it certified, put it in, do all the testing
5 involved to do it. And, you know, I'd rather give the
6 design team the set of requirements once, and let them
7 develop a product that we think needs to go into the
8 market.

9 So, frankly, for us, you know, one of the
10 elements on our roadmap that Jeremy showed earlier, was
11 the perpetual pilot playground in the middle of it. And
12 if we don't get some of the policy things in place, such
13 as fixing Rule 21, or getting like massively easy point-
14 of-sale interconnection permits for V2G, then V2G will
15 always live in a perpetual pilot thing because you won't
16 get mass market adoption. You'll get this utility
17 program, that utility program, and the other one.

18 But, you know, we want to develop one set of
19 training materials for our dealers. We want to develop
20 one set of communications and advertisements about cars.
21 And we just need it to be part of the zeitgeist of what
22 this product is. And that's what we would like to do
23 with V2G.

24 And so, if we can get the policy things lined
25 up, you know, top to bottom, we can enable a world of

1 V2G in, you know, like for us four to five years. We
2 put the requirements on the car, design the hardware and
3 the specs, and then we make cars. And we make them, you
4 know, in high volume, and that's how the business works.

5 And everything outside of that is the perpetual
6 pilot playground and we don't really want to live in
7 that. So, anyway, thank you.

8 MS. PIERO: Can I say one thing real quick?

9 MR. HARTY: Oh, yeah, if anybody would like a
10 paper copy of the roadmap, Jeremy's got it.

11 MS. PIERO: I just wanted to quickly clear up,
12 actually, we're not doing the same project as this in
13 the UK. It's two separately-funded projects in the same
14 funding program. But there's a lot going on in the UK
15 right now. It's a very exciting space and I'd say keep
16 your eye on it.

17 The other thing that I'd like to say, as a
18 company that has a vested interest in V2G moving
19 forward, is that we're not interested in pilots, either.
20 We're actually way more interested -- and we're not
21 interested in subsidies. And we're not really
22 interested in mandates. We're interested in value
23 streams being accessible. Value streams being revealed.
24 In markets actually being appropriate for other DERs
25 that are situated behind meters, on the distribution

1 grid. And we're interested in being able to get
2 interconnected. And we're interested in being able to
3 work with the battery manufacturers, with the car
4 manufacturers, as Kelsey was saying.

5 And even if V2G is in the future, I think it's
6 not a binary choice for this roadmap between V1G and
7 V2G. If we're really talking about integrating EVs to
8 the grid, all of these things have to be on the table
9 and all of these things have to be implemented as
10 quickly as possible.

11 So, I would say more we're looking for even just
12 regulatory placeholders for where these opportunities
13 will go, if we're not ready to address it, yet. Don't
14 close doors, accidentally, by turning away from this
15 technology, now.

16 MR. HARLAND: All right, I just want to do a
17 time check. It looks like we have one more comment
18 there from Vince, and then we should wrap it up because
19 we were -- we were scheduled to end at 5:00. But
20 thanks, everybody, for hanging out.

21 MR. WEYL: Vincent Weyl with Kitu Systems. I
22 think there's a consensus here that we need more
23 electric vehicles on the road. I want to build on
24 Pamela's comment that we need to find an incentive for
25 every player.

1 My question about this VGI Roadmap is aren't we
2 missing a key player around the room? And it was Rule
3 21, where one of the key stakeholders and key
4 contributors, actually, is the solar installers. And I
5 have a hard time understanding the rate design, all the
6 rates, and I picture the average dealing trying to
7 represent to me why I should go buy an EV, and why it's
8 more beneficial than a combustion engine.

9 So, I'm wondering whether or not we should
10 associate the dealers into this VGI Roadmap.

11 Sorry for looking at you, Noel, but I think it's
12 more a process.

13 MR. CRISOSTOMO: No, I mean I don't -- I don't
14 like to stop the conversation when it's alive like this.
15 But we do have to wrap. So, Carrie, thank you for
16 moderating the panel and the panelists, thank you so
17 much for presenting today.

18 (Applause)

19 MR. CRISOSTOMO: I'm going to let Siva come up
20 and provide some closing thoughts. Before he comes up,
21 I just want to remind everyone that we are back on
22 tomorrow morning at nine o'clock. We'll be starting
23 here in this room.

24 For those on WebEx, we'll be using a different
25 meeting number, so make sure you check out the meeting

1 notice or look online. And as I mentioned earlier, all
2 the presentations that you've seen today are all
3 available on our docket. So, if you're looking for
4 those, you can find them there.

5 Thanks a lot, and I'll see everybody tomorrow
6 morning.

7 MR. GUNDA: Thank you. This is -- I'm Siva
8 Gunda. I'm Deputy Director for the Energy Assessments
9 Division. And I've been asked to close off the meeting
10 today with some introduction to what our division does,
11 and some of the relevant aspects of the Water Division
12 does with the discussions today.

13 I see a lot of familiar faces and names here.
14 So, I just want to, first of all, say thanks to Ray, Eli
15 and Noel for a wonderful day that was planned here.

16 I also want to thank all the vendors and the
17 panelists who took their time to help us with this event
18 today.

19 I know Kevin made this joke earlier this morning
20 that we both wore the same shirts. It is really true.
21 It was not planned, it was just probability. We do show
22 up with the same shirt once in a while as a part of our
23 breaking down the silos here.

24 So, what our division does is kind of understand
25 the supply and demand side analysis that helps with

1 reliability planning for the electricity and the natural
2 gas markets and sector.

3 And as a part of that, we do forecasting. So,
4 as most of you know, forecasting is a Type 2 system, so
5 we are never right. So, we're always in the vicinity of
6 being right.

7 So, what we try to do, though, is kind of do the
8 best guess around the uncertainties that exist around
9 the forecasting. As a part of that, we kind of convene
10 something called a DAWG, a Demand Analysis Working
11 Group. We have a lot of economists and engineers, so we
12 can come up with cool terms. DAWG is how far we go.

13 So, as a part of that, we have a Transportation
14 Subgroup, which we call a PUP. But the idea is to bring
15 stakeholders, like you, to kind of weigh in on some of
16 the characteristics and potential projections of the
17 various attributes that help with the models that we use
18 here.

19 So, at a high level, the Transportation
20 Forecasting Group, within our Division, does a
21 Forecasting Transportation Demand Analysis, which is
22 primarily driven by choice models.

23 So, the choice models use a survey that we do
24 every three years. It's a consumer preferences survey.
25 And based on the survey, we develop the necessary

1 equations for modeling consumer preferences for light-
2 duty vehicles, as well as commercial vehicles. So,
3 that's something that's very important for us as we move
4 forward.

5 So, we request all the stakeholders here, that
6 showed a lot of enthusiasm today, to participate in
7 those DAWG meetings to help us double up some of this --
8 both the preferences side, as well as projections
9 towards what we should use in our models.

10 So, I'm kind of looking at time and I don't want
11 to stay here for too long. So, I just want to say thank
12 you for being here. And me and Kevin will plan to wear
13 the same shirt tomorrow, to show. Thank you.

14 (Thereupon, the Workshop was adjourned at
15 5:13 p.m.)

16

17

18

19

20

21

22

23

24


25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 4th day of December, 2018.




PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 4th day of December, 2018.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520