

DOCKETED

| | |
|-------------------------|---|
| Docket Number: | 17-GRDA-01 |
| Project Title: | Geothermal Grant and Loan Program Workshops and Discussions |
| TN #: | 226069 |
| Document Title: | Transcript of 11/15/2018 Lead Commissioner Workshop on Lithium Recovery from Geothermal Brine |
| Description: | N/A |
| Filer: | Cody Goldthrite |
| Organization: | California Energy Commission |
| Submitter Role: | Commission Staff |
| Submission Date: | 12/11/2018 2:27:04 PM |
| Docketed Date: | 12/11/2018 |

CALIFORNIA ENERGY COMMISSION

In the Matter of:

Lithium Recovery from)
Geothermal Brine)
_____)

LEAD COMMISSIONER WORKSHOP

CALIFORNIA ENERGY COMMISSION

FIRST FLOOR

ART ROSENFELD HEARING ROOM

SACRAMENTO, CALIFORNIA

THURSDAY, NOVEMBER 15, 2018

1:00 P.M.

Reported by:

Peter Petty

APPEARANCES

COMMISSIONER

David Hochschild, Lead Commissioner

STAFF

Elisabeth de Jong

Chuck Gentry

Michael Sokol

Gina Barkalow

Erica Chac

Myoung-Ae Jones

Terra Weeks

Ken Rider

PRESENTERS

Logan Goldie-Scot, Bloomberg NEF

Eric Besseling, BHE Renewables

PANELISTS

Derek Benson, EnergySource Minerals

Trelynd Bowles, Governor's Office of Planning and
Research

Tyson Eckerle, GO-Biz

Eduardo Garcia, California State Assembly

David Ginley, NREL

Andy Horne, Imperial County

Randy Keller, MGX Minerals, Inc.

Danny Kennedy, California Clean Energy Fund

Josh Mengers, U.S. Department of Energy

Phil Rosentrater, Salton Sea Authority

Susanna Ventura, SRI International

Anna Wall, Capstone Headwaters

Jonathan Weisgall, Berkshire Hathaway Energy

Bruce Wilcox, Salton Sea Policy

PUBLIC COMMENT

Stephen Harrison, All American Lithium

Fred Aminzadeh (via WebEx), University of Southern
California Center for Geothermal Studies

Jeff Harris, Ellison, Schneider, Harris & Donlan

Barbara Heydorn, SRI International

Tom Currin, Southwest Technologies

AGENDA

| | <u>Page</u> |
|---|-------------|
| Welcome and Opening Comments | 5 |
| Commissioner Hochschild Assemblyman Eduardo Garcia | |
| Presentations: Perspectives on Current and Projected Lithium Markets | 10 |
| Logan Goldie-Scott Eric Besseling | |
| Panel 1: Technical and Economic Challenges | 66 |
| Chuck Gentry, Mediator | |
| Public Comments | 77 |
| Panel 2: Funding Priorities and the Role of Government | 124 |
| Elisabeth de Jong, Mediator | |
| Public Comments | 168 |
| Closing Remarks | 185 |
| Adjourn | 185 |

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

P R O C E E D I N G S

1:02 P.M.

SACRAMENTO, CALIFORNIA

THURSDAY, NOVEMBER 15, 2018

MS. DE JONG: Good afternoon everyone and thank you for joining us today for the Lead Commissioner Workshop on Lithium Recovery from Geothermal Brine.

Special thanks to everyone who has prepared for and helped us make this workshop possible. I would like to particularly thank our panelists, who have taken the time to be a part of this workshop.

A few housekeeping items before we begin.

The workshop is going to be recorded.

For those of you unfamiliar with this building, the closest restrooms are located in the atrium just outside these doors.

There are vending machines on the second floor.

Lastly, in the event of an emergency and the building is being evacuated, please follow our employees to the appropriate exits. We will gather at Roosevelt Park located diagonally

1 across the street. Please proceed calmly and
2 quickly, again, following the employees who are
3 here with you in this meeting, to safely exit the
4 building.

5 We have copies of the agenda questions,
6 workshop notice and presentations near the
7 entrance, if you do not already have a copy.

8 After the opening comments and
9 presentations, we will be having two panel
10 discussions with a short break in between the
11 panels. Public comments can be made after each
12 of the panels. Please fill out and hand in a
13 blue card to Gina if you wish to speak during
14 public comment time, and please observe a three-
15 minute time limit per person. We will start with
16 comments from folks in the room and then
17 attendees on WebEx.

18 We encourage you to provide further
19 written comments via our docket process. We have
20 provided a link to that docket page on the
21 workshop notice. Please submit items to that
22 docket by 5:00 p.m. December 6th.

23 This workshop is being facilitated today
24 with the support and under the direction of
25 Commissioner David Hochschild, who is going to

1 give some opening comments. And when Assembly
2 Member Eduardo Garcia arrives, we will ask him to
3 come up, as well, for comments. And then
4 followed by presentations from Bloomberg New
5 Energy Finance and Berkshire Hathaway Energy.

6 It is my pleasure to introduce
7 Commissioner David Hochschild.

8 COMMISSIONER HOCHSCHILD: Great. Thank
9 you. Let's just take a minute to just thank all
10 the staff for organizing today's gathering.

11 (Applause.)

12 COMMISSIONER HOCHSCHILD: So if you're in
13 this room around the table, it's because you're
14 supposed to be. We really wanted to get the top
15 experts on this issue to dig into what I think
16 could be a very important part of California's
17 energy future.

18 And just by way of introduction, I just
19 returned from Paris from an International
20 Electrification Conference, sharing with a bunch
21 of utilities and other stakeholders what we're
22 doing here in California. And I have to say, I
23 am very proud of what we, as a state, have
24 accomplished in building a clean energy future
25 with the leadership of so many of you who are

1 here today. I mean, we have the largest wind
2 project in the world, is in California, the
3 largest solar thermal trough and solar thermal
4 tower projects in the world, largest thin film
5 solar PV project in the world, largest geothermal
6 power plant in the world, and our largest factory
7 operating in the state of California today is an
8 electric vehicle factory, the Tesla factory.

9 And at the same time, you know, we're
10 also now, with these fires, suffering some of the
11 worst impacts of climate change. I mean, this is
12 what climate change looks like. And so as a
13 state, we're in the unique position of having to
14 both simultaneously fight hard to prevent climate
15 change from getting worse and to lead the way to
16 a clean energy future, and to adapt to the new
17 circumstances in which we find ourselves.

18 I am very intrigued by the vision of
19 lithium as the new oil in some sense. And if you
20 look at what's happening, particularly around the
21 vehicle fleet in California, it's not gotten a
22 lot of attention, but we were selling 6,000
23 electric vehicles a month in January. We're now
24 at about 20,000 a month.

25 In fact, raise your hand if you have an

1 EV or drive an EV. Yeah, well, a few of you, and
2 I think more on the way. Before you leave this
3 room, we'll make you sign a commitment to get an
4 EV.

5 But, you know, that growth is taking off,
6 along with energy storage. And I think the
7 results of the elections at the state level,
8 certainly, last week to me indicate we're going
9 to see a lot more clean energy and clean
10 transportation initiatives and I think that's a
11 positive.

12 I particularly wanted to thank Danny
13 Kennedy, who is really the genesis for this idea
14 we were discussing, lithium extraction and the
15 opportunity before us. So Danny runs the
16 California Clean Energy Fund and I'm grateful to
17 him, and to all of you, for being here. I think
18 with any new governor's administration there's a
19 honeymoon period early where you can lead with
20 some big, new initiatives. And I think this
21 question of how to make lithium extraction really
22 work in California, we're sitting on one of the
23 greatest reserves here, is going to be a really
24 important one for our environment and for our
25 environment and for our economic future.

1 So with that -- and we're waiting, by the
2 way. Assemblyman Garcia, I guess, will join us
3 in an hour or so.

4 So with that, let's move on to the
5 agenda.

6 MS. DE JONG: So our first presentation
7 today is going to be from Logan Goldie-Scot from
8 Bloomberg New Energy Finance.

9 MR. GOLDIE-SCOT: Well, good morning,
10 everyone, and thank you. Thank you so much for
11 taking the time to join us for talking about such
12 a, in the Commissioner's words, I think, is such
13 an important topic and such a relevant topic
14 today.

15 My name is Logan Goldie-Scot. I head up
16 the Energy Storage Team at Bloomberg NEF. And
17 one of the messages that I think we'd -- that
18 everyone should take away from today's session is
19 that to understand the big questions that we're
20 talking about today, you also really need to
21 understand multiple industries and multiple
22 sectors in terms of what you'll hear from Eric
23 around sectors beyond sort of stationary storage,
24 such as electric vehicles but also, actually,
25 beyond even the energy space. And that's

1 something that at Bloomberg NEF, as a sort of
2 primary research firm, we spend a lot of time
3 doing, so really trying to understand what drives
4 the sectors that we look at, what influences
5 changes in those sectors and how should we think
6 about this over time? And I head up sort of the
7 energy storage space here.

8 So what I'd like to do today is talk
9 through why we think lithium is potentially the
10 new oil and why we think lithium is important,
11 what's driving that, what's happening on the
12 supply side, just to sort of put into context
13 some of the things that we'll talk through in the
14 workshops, and how does that relate to or how is
15 that impacting pricing and what should we be
16 thinking about there?

17 So first off, what you can see here shows
18 annual battery demand globally. And this is
19 based on a number of different demand segments,
20 but notably passenger electric vehicles which
21 make up, in 2030, sort of 80, 85 percent of total
22 demand there. And but then you also have
23 electric buses, station energy storage and,
24 naturally, consumer electronics.

25 And so there are two things to take away

1 from this chart. One is that battery demand is
2 forecasted to grow incredibly rapidly over the
3 coming years and that will have a sort of ripple
4 effect on any of the components and raw materials
5 that go into battery demand, but also that
6 passenger electric vehicles are the market to
7 really be aware of here.

8 And so to make sure that sort of once
9 we've all signed the bits of paper committing
10 ourselves to electric vehicles before we leave
11 today, to make sure that there are enough
12 batteries to do that, you will need to see a huge
13 expansion in battery cell manufacturing capacity
14 globally. Now this is based on a database we
15 have where we're looking at already existing, so
16 operational cell manufacturing capacity plants
17 globally, and then also, what's in the pipeline?

18 And there are two things to pay attention
19 to here. One is just the number in the center of
20 these circles. So on the left-hand side you see
21 175 gigawatt hours of commissioned cell
22 manufacturing capacity today, so that is a pretty
23 big number already. But by the end of 2021, so
24 by Jan 1st, 2022, based on announcements alone,
25 this is not our own projection, this is based on

1 company announcements about when they will bring
2 plants online, we expect that number to over
3 triple to around 630 gigawatt hours of battery
4 manufacturing capacity a year.

5 Now the other thing to be sort of
6 conscious of here is just a geographical split.
7 And I'm sure this is something that will come up
8 throughout the course of the sessions where at
9 the moment China, in terms of physical plants in
10 China, has around two-thirds of global capacity.
11 And although that decreases a tiny bit over the
12 next couple of years, it really maintains a
13 fairly dominant position. But you do see over
14 the next few years, and we began to see this in
15 Europe recently, is actually companies
16 building -- companies often from Asia, so
17 Koreans, Japanese and Chinese companies building
18 new production facilities in Europe. So not
19 necessarily diversification at the company level
20 but diversification in terms of plants' location.

21 And the other thing to, I think, really
22 be aware of, and this is sort of crucial to
23 understand at a high level, even if you don't go
24 into the details, is that within each of these
25 demand segments, not all batteries are equal, and

1 that will have implications for all of the supply
2 chain questions we talk about today. So
3 batteries for passenger electric vehicles and the
4 raw materials that go into that may end up having
5 different requirements and different criteria to
6 those that go into stationary storage in other
7 markets. So that's just to say be aware of some
8 of these nuances in the market.

9 And the way that we've illustrated this
10 here is looking purely at lithium ion, so that
11 sort of term that most people here will be
12 familiar with but breaking it down by cathode
13 chemistry. So this horrendous list of acronyms
14 that you can see in the legend there, so nickel,
15 manganese, cobalt, nickel, cobalt, thallium
16 (phonetic) (indiscernible), all of these
17 different batteries. And essentially, what we
18 see is happening in the market is technology will
19 continue to improve. And we believe there is a
20 clear shift towards higher nickel content, lower
21 cobalt content batteries within lithium ion, but
22 the need for lithium remains relatively constant
23 throughout. There are slight changes. But the
24 need, depending on the chemistry, lithium is
25 really the only critical material here.

1 Everything else is important but lithium is the
2 critical one.

3 And this gives -- this is just another
4 way of sort of trying to get across that same
5 point where this shows the metal content by each
6 of those cathode chemistries. And what you can
7 see, if we start on the left here, so a nickel-
8 manganese-cobalt 1-1-1 (phonetic) battery is
9 relatively equal proportions of nickel to
10 manganese to cobalt. And then lithium stays
11 pretty constant throughout. But this chart, you
12 can see as you move forward with these different
13 technologies the other metals will change but the
14 lithium content stays relatively consistent.

15 And I guess one of the reasons why we're
16 here today is one of the things to be conscious
17 of today is we are not alone in thinking about
18 this industry from sort of a perspective of
19 security of supply and from a perspective of sort
20 of a it is a now be elevated to one of sort of
21 national importance. You see this in countries
22 where either there are major demand sources, so
23 where you have an expectation of a lot of
24 electric vehicles or electric vehicles or station
25 energy storage to be deployed or where you have

1 an existing manufacturing industry.

2 And here, this is a quote from the chief
3 executive of Posco, one of the Korean, sort of
4 Korean majors here. They had previously not
5 really been -- up until two years ago it didn't
6 really have a presence in battery manufacturing.
7 And over the last few months they've announced
8 billions of dollars of investments in this space
9 with the intention, with the explicit intention
10 of firming up a domestic supply chain. And so
11 we're certainly not the only ones considering
12 how -- considering the geographical balance and
13 imbalance there.

14 And then you see this beyond Korea. And
15 I was actually in Australia last month, in
16 Western Australia where, actually, as a territory
17 or as a state it has a larger -- a relatively
18 large amount of lithium resource, as well as
19 nickel, cobalt and other sort of critical metals.
20 And one of the questions that all of the miners
21 and at the state level they're asking in Western
22 Australia is how do we make sure that we are not
23 just exporting raw materials and how do we think
24 about this in a more strategic way?

25 Similar points in Europe where the

1 European Commission said -- I'm originally based
2 from London. So the European Commission is
3 trying to offer support to sort of domestic
4 battery champions, as well.

5 So that's a bit of perspective on what's
6 happening in terms of the demand. So where do we
7 see this going? And essentially it's cheaper
8 batteries means that we expect to see more
9 batteries in more things.

10 And that then leads to a follow-up
11 question of will the supply chain keep up and how
12 is the supply chain positioned at the moment?

13 And this chart here shows our expectation
14 of lithium supply and demand over the -- well, up
15 until 2025. And so in the columns on the bottom
16 you can see the different demand sources, so
17 really building off that first chart I showed
18 where you have passenger electric vehicles,
19 consumer electronics and stationary storage. And
20 then the red line is our expectation on supply.

21 Now there are a couple of things to sort
22 of -- to also sort of flag here. That supply
23 line, we have built that up, looking at all of
24 the plants that we're aware of today, so all of
25 the mines, all of the refining facilities, and

1 then essentially derating those, so taking the
2 company announcement and then derating it based
3 on various factors, such as financial health,
4 free cash flow, the quality of the raw material,
5 and the likely cost of production at that mine.
6 And that gives us what we think is a pretty good
7 understanding of sort of how much supply will be
8 available in this market over time. And you can
9 see that although the market looks relatively
10 tight over the next few years, and even falls
11 into deficit based on current announcements, so
12 that's really important to note, based on current
13 announcements by 2024, '25, that we do see enough
14 supply in the market.

15 Now presenting this a few -- or a version
16 of this a few days ago, someone made the very
17 good point of but this demand chart doesn't look
18 that steep, whereas if you look at the first
19 chart we showed it really sort of ends up looking
20 like that hockey stick. And so there is this
21 question around that near-term growth where we do
22 see the market as being able to keep up, but this
23 only gets harder and harder as the pace of uptake
24 accelerates over time.

25 And that -- and then that, that's really

1 interesting because you have, basically, that
2 investment, that -- or that production sort of
3 uptake, the bringing on of new supply. Taking
4 sort of -- taking supply and making sure
5 production comes online on time requires a lot of
6 money. And what we've seen over the last couple
7 of months is actually investors, although there's
8 broad consensus around the interest in lithium
9 and around the growth story for batteries,
10 investors remain relatively apprehensive on
11 lithium stocks.

12 And there were a couple of -- if we look
13 at this chart here, you can actually see, so the
14 metric tons on the left and the performance of
15 these initial listing on the righthand side. And
16 what you can see is that when the market was in
17 under-supply the listings ended up being over --
18 so, basically, the companies raised what they
19 were hoping to and more, whereas in recent
20 months -- in October there were two IPOs and both
21 companies listed, ultimately listed at the lower
22 end of their expectation. And so there's a bit
23 of a disconnect that will be great to talk
24 through around that consensus around battery
25 demand versus sort of apprehension on behalf of

1 investors.

2 And then taking a step back from the
3 companies and thinking more around sort of the
4 geographical split at the moment, lithium is more
5 diverse geographically than a metal such as
6 cobalt which has an incredibly high concentration
7 of resource and production in the Democratic
8 Republic of Congo. But lithium, you still see
9 sort of a pretty meaningful pockets of supply
10 here. And here you can see those pockets being
11 in Australia, in Chile, in Argentina, and then
12 sort of a much smaller resources or production so
13 far in the U.S. and elsewhere, although,
14 naturally, these can change depending on sort of
15 the outcome of any sort of local and domestic
16 supply announcements.

17 COMMISSIONER HOCHSCHILD: Where in the
18 U.S. is lithium being produced today?

19 MR. GOLDIE-SCOT: So you have Albermarle
20 and Albermarle Dam where it's producing the
21 bromine. So let me check on the plant name, but
22 it's basically by Albermarle's operations.

23 COMMISSIONER HOCHSCHILD: That's what I
24 thought I'd heard.

25 MR. GOLDIE-SCOT: And so you have this --

1 so you have a geographic concentration. And then
2 one of the other, I think, really - one of the
3 other things that we naturally have to pay
4 attention to whenever we're thinking about new
5 supply is - and when we're thinking about that
6 supply demand balance or imbalance is the
7 concentration at the company level. And so here
8 you can see the 2018. On the left is mined
9 production and on the right, it's refined
10 production. But you end up having, currently
11 anyway, a relatively small number of companies,
12 and you saw some of these on that investor slide
13 I just showed, but a relatively small number of
14 companies who are sort of very active in this
15 space or, rather, who control a large amount of
16 supply. So that, again, when -- in any
17 conversation around sort of the competitive
18 landscape and dynamics going forward, that will
19 be something to bear in mind.

20 And the final point on this front anyway
21 is it's not just around who owns the mines and
22 who owns the refining facility or, rather, who's
23 operating it. What we've seen, and I find this
24 personally remarkable when looking at it, is the
25 sort of the web of investments across many of

1 these firms is also pretty tangled. And so you
2 have a number of the larger miners who also own
3 significant portions of the genius (phonetic),
4 and that has been -- and then you also
5 increasingly have overlap between some of the
6 larger plants, as well. So again, it's just sort
7 of something to be sort of aware of in terms of
8 that competitive landscape and the concentration
9 of supply at the moment in relatively few
10 companies' hands.

11 And now on -- just a few things on
12 pricing, and then I'll pass on to Eric here.

13 So as demand shows up, and even more
14 importantly, as the expectation of future demand
15 for batteries and for lithium increased or began
16 to increase rapidly, what you can see is that the
17 lithium from a price perspective, so in dollars
18 per metric ton, the lithium market naturally
19 started to react to this. So you have relatively
20 flat pricing for a number of years, so I'm going
21 back from sort of 2009 to 2015 or so, and then
22 this steep increase in pricing over the last
23 couple of years.

24 Now there are different dynamics or there
25 are different -- that change in price varies,

1 depending on whether it's hydroxide or carbonate.
2 It varies depending on which country you are
3 sourcing and selling the lithium into. But
4 essentially, you have seen that increase over the
5 last couple of years, even if recent action in
6 China has caused prices in the Chinese market to
7 sort of -- to fall off a bit.

8 And then these are two slides that,
9 actually, we haven't produced these ourselves.
10 These are sort of our source of from Nemaska
11 Lithium, so one of the lithium sort of producers
12 here, so that's why Nemaska is highlighted. We
13 will be producing our own throughout the course
14 of 2019.

15 But the other, probably the final, thing
16 to be taking into account when considering the
17 competitiveness of any new supply coming online
18 is where it would fit into one of these cost
19 curves in terms of the cost of production. So
20 you can see a pretty big range here between sort
21 of, depending on the output, between \$3,000 a
22 metric ton up until around \$10,000 a metric ton
23 for hydroxide, and then for lithium a similar
24 range between -- so for lithium carbonate, a
25 similar range between \$2,000 and sort of \$5,000,

1 \$6,000 a metric ton here. Now these are
2 estimates from one lithium producer. These
3 would -- these will change. And I'm sure folks
4 in the room will have opinions on this.

5 But I guess the sort of the final message
6 that I'd like to sort of end on is we see huge
7 demand for batteries and lithium over -- and,
8 well, actually, in the near term, extending and
9 accelerating in the medium to long term. That
10 has pretty significant implications for the
11 whole -- for the supply chain, whether you're at
12 the battery assembly, cell manufacturing
13 components, or the mining and processing for
14 different metals, including lithium.

15 At the moment the market is relatively
16 concentrated, both in terms of the geographical
17 concentration but also in terms of the company
18 mix. But there clearly is -- there's an
19 opportunity for new suppliers sort of outside of
20 the pool, to depending on their competitiveness
21 in terms of the cost of production, but also
22 depending on sort of where they sit and other
23 non-cost-related factors, there is, clearly, an
24 opportunity for new suppliers to come in and help
25 meet that rapidly increasing demand.

1 So with that, I think that basically is
2 for me to wrap up. So thank you very much for
3 giving me the opportunity to present. I hope you
4 found the content interesting. And we will hear
5 a bit more sort of context on the market shortly.
6 And then I'm looking forward to a great
7 discussion around what does that mean for
8 California and what does that mean for everyone
9 in this room?

10 So thanks again.

11 (Applause.)

12 MS. DE JONG: And next, we're going to
13 hear from Eric Besseling from Berkshire Hathaway
14 Energy Renewables. Okay.

15 MR. BESSELING: Hello everyone. Thank
16 you, Logan. First a comment on Logan's
17 presentation.

18 Everything that I've been reviewing and
19 studying for the last three or four years is very
20 consistent with what Logan showed there, so I say
21 we're very consistent. Some of my presentation
22 slides overlap with yours, and I'll pass through
23 those quick because Logan has done a much better
24 job than I could ever on those.

25 I'd like to take this opportunity to just

1 bring into perspective what this looks like or
2 how California fits to this as far as the Salton
3 Sea is concerned. I'm not really an expert on
4 North America supply. I'm an expert, if you can
5 call it that, on what we have in the Salton Sea.

6 So going with that, the next slide, just
7 a little bit of background, just to let you know
8 where I'm coming from. I'm with BHE Renewables,
9 which is a division of Berkshire Hathaway Energy
10 Company which is mostly owned by Berkshire
11 Hathaway itself. Our company is a large company
12 now. It's a \$91 billion asset company as of last
13 year which has -- most of it is this holding
14 company of large utilities. You can see all
15 those ink splats on this chart here, on the map,
16 which are all the regulated utilities that we
17 have, mostly power generation. The couple of
18 squiggly lines is our natural gas pipelines with
19 Kern River and Northern Natural Gas.

20 And then we have what I'm with, which is
21 the BHE Renewables Group, which is our IPP, which
22 we own a lot of wind, solar and geothermal. And
23 that little star in the southern corner there of
24 California is where the geothermal assets are,
25 and we've got 350 megawatts of generation, of

1 geothermal generation, with expandability to go
2 to about 1,000 megawatts. We have about 4,000
3 megawatts in total of wind, solar and geothermal
4 right now. If you include our tax equity
5 projects, we're well over 5,000.

6 So getting on to the geothermal. So
7 here's a picture of our assets in the Salton Sea.
8 Basically, you can see eight of our ten plants
9 there. There's roughly 250 megawatts of
10 generation on that picture there. You can see in
11 the back corner there in the background, we've
12 got our five plants which we call the Salton Sea
13 Units, Salton Sea Units 1 through 5. And in the
14 foreground you've got the three other plants,
15 Vulcan, Del Ranch and CE Turbo, to those that
16 care. Basically, you've got 350 megawatts spread
17 across ten plants. To supply that with energy,
18 we've got 23 production wells and 22 injections
19 wells.

20 And basically, we're going down a mile-
21 and-a-half deep to get the brine out of the
22 ground. It comes up at 450-odd degrees and about
23 500 pounds of pressure. We take that, bring it
24 through the facilities. We flash the steam off
25 that. We lose about 25 percent of the fluid, of

1 the liquid in the brine to flash steam, which
2 produces the 350 megawatts of power.

3 Once we're done with that the temperature
4 drops down to about 230 degrees which is a key
5 component when we start talking about the
6 accessibility to this for our lithium extraction,
7 but we still have about 230 degrees hot brine
8 still at the point. And we basically put it back
9 underground, so we go another almost two miles
10 down to put it back into the field for future
11 extraction for power gen.

12 The flow rate is key here, as well.
13 You've got a big flow. You've got 53,000 gallons
14 per minute of brine flowing. And later I'll show
15 you the concentration. It's not a huge
16 concentration but it's all about volume. So to
17 the extent we have this much volume to process,
18 we've got in the order of magnitude of 200 to 300
19 parts per million of lithium content in this
20 brine. But with this kind of volume, it does add
21 up pretty quick as I'll show you in further
22 slides.

23 Here's another picture of the ninth plant
24 which is our Elmore Plant, which is a 50 megawatt
25 plant which is kind of like the right size for

1 getting under certain efficiencies for
2 permitting. That plant there could support about
3 15,000 metric tons a year of lithium carbonate
4 production. The footprint of this is roughly
5 about 20 acres for the site, not including the
6 actual field for production but the actual above-
7 ground site.

8 Lithium extraction, we've been out there
9 working with potential developers for the last
10 year or so and the consensus is roughly about
11 double that size for a lithium plant, just for
12 that site for 15,000 metric. So the footprint is
13 rather large. It's going to be double or triple
14 the size of our operations in the geothermal
15 side.

16 So just to put it into perspective what
17 this looks like on the map, on the left-hand
18 side, you'll see the -- that's your left, as
19 well -- the left-hand side, you're going to see
20 basically what was considered the Salton Sea-
21 known geothermal resource area. This was
22 identified decades ago. And basically, it
23 defines where the resource is for geothermal.
24 But within that, what's actually accessible for
25 geothermal power gen, which is shallow enough, is

1 when you have the shallow anomaly which is that
2 little kidney-shaped light blue traced. That's
3 basically where the geothermal energy is that's
4 acceptable for power gen to access and get out of
5 the ground. It's relatively shallow, again, a
6 mile-and-a-half deep, for our wells to get at.

7 In that well, you can see the resource.
8 The yellow area is what -- is the area that BHE
9 controls which is, basically, we don't own the
10 surface, that's all subsurface rights. We have
11 lease agreements with all the local farmers. We
12 own portions of that surface rights, as well, for
13 some of our operations, but most of it, of that
14 land holdings, is all subsurface rights. We own
15 the rights for the power generation, as well as
16 for all the minerals. And we've been collecting
17 these and holding these mineral rights for the
18 last 20- to 30-odd years, waiting for this day to
19 happen.

20 And there's been -- at the very beginning
21 of this when this resource was first identified,
22 the focus was really the minerals way back when
23 and has never really come to fruition. This is
24 probably the first time the plants have aligned
25 with the values there and the opportunity and the

1 skill set to get it out.

2 On the righthand side you'll see that the
3 four regions, those are the actually operating
4 regions that I showed you the photos of earlier,
5 basically, that's our existing operations. In
6 the bottom chart, you'll see that that's worth
7 about 350 megawatts, as I show there in the light
8 blue. It's good for about 90,000 metric tons or
9 90 kilotons per annum of production. As you'll
10 recognize in those charts that Logan showed
11 earlier, that's a fair chunk on today's
12 operations and equals about one-tenth of the
13 growth that you projected there, so it's a
14 sizeable amount of lithium production. That's
15 just with the existing.

16 The greenfield, all that other yellow
17 area in the map above there is what we've been
18 holding for future production. I said earlier
19 that we wanted to get to about 1,000 megawatts of
20 production. We've tried to go at this a number
21 of times, just the market value has never been
22 enough there to support new construction of
23 recent with the onslaught of solar and wind being
24 more competitive than ourselves. So we've been
25 holding onto this and looking for opportunities.

1 Hopefully, this lithium opportunity, coupled with
2 power gen, will allow us to tap into that growth
3 opportunity, as well, and get the extra 700
4 megawatts, which would also add up to another
5 200,000 metric tons of lithium carbonate. So all
6 said and done, just CalEnergy or BHE's holdings
7 alone could supply 300,000 metric tons a year of
8 lithium carbonate, so it's a pretty sizeable
9 amount on the world's scale. But we've got to
10 get through the economics of that, which we'll
11 talk about some more.

12 Just to footnote a few other things on
13 this, you'll see the green area, that's
14 controlled. That's owned by another development
15 operation called Controlled Thermal Resources
16 that are trying to do the same thing that we're
17 doing, which is to develop that for power gen and
18 lithium production. And you've also got
19 EnergySource, as well, in the top right corner,
20 that little red square. They have an actual
21 operating plant, as well, that's producing 50
22 megawatts. And they're also pursuing lithium
23 extraction.

24 In that chart there on the map on the
25 righthand side, the little shaded dark areas are

1 the actual physical plants, where they sit
2 relative to the whole field.

3 Here's a gradient map of the lithium
4 concentrations. You can see the little -- the
5 trace around each site of wells there. That is
6 the little sites I showed you on the previous
7 map. Each region has its own production and
8 injection wells. They're separated by region.
9 And you can see, the concentrations go to roughly
10 175 parts per million in the far left corner and
11 going up to about 225 in the far right in the
12 yellow. So that's the kind of concentrations
13 that we're experiencing.

14 We've been testing this brine annually
15 for the last 20 year, so we've seen these
16 concentrations persist over the years. Nothing's
17 changed over the years. It's very -- pretty
18 reliable and consistent, which is very comforting
19 for new development.

20 As I mentioned before, we struggled to
21 try to get the new development for geothermal.
22 Here's a chart that I like to present to explain
23 what's going on and where we sit in the stack of
24 power supply on a levelized cost of energy. You
25 can see the green there for geothermal. Our

1 price, roughly speaking, is about \$95.00 a
2 megawatt hour levelized cost to get to market.
3 And the market, as everyone's probably heard and
4 experienced, it's in the low \$50.00s now for --
5 and even below that for solar production.

6 And that's where we've struggled to get
7 any traction on developing new green geothermal.
8 And this is really the lifeline to bring
9 geothermal back into competitive with those other
10 renewable sources, a combination of that and when
11 you bring in -- we're now going to be, probably
12 in the future, competing with not just solar by
13 itself or wind by itself, but it will be a
14 combination of intermittent with battery storage
15 which drives lithium demand, but it also makes us
16 a little more competitive on the geothermal.

17 Once you move away from all the tax
18 incentives, the ITCs and such, we figure that the
19 value of solar plus storage is going to be around
20 that \$50.00 to \$70.00 range, and which we're
21 probably on the -- still on the little high side.
22 Lithium production coupled with this, the value
23 that we could gain from both, putting the two
24 concepts together, we should be able to get our
25 cost driven down something below \$50.00.

1 This is -- now I'd like to talk a little
2 bit more about the lithium reserves. This is
3 going to, hopefully, put things in perspective.
4 And I've always been trying to understand over
5 the last couple of years where we really fit in
6 the world as far as California brine. So I know
7 there's a lot on this chart, so bear with me.

8 First I want to talk about those dark
9 blue -- the dark red bars. That's what's
10 basically, based on the U.S. Geothermal Survey,
11 tells us is what's the reserves that are
12 currently on the books right now. That's the
13 total world reserves right there. Basically,
14 it's all set mostly in Argentina, Chile, China
15 and Australia. That adds up to 15,000 kilotons
16 of total lithium reserves. That's proven
17 reserves based on current technology that's
18 economic to get out of the ground at today's
19 markets.

20 The dark blue is what the U.S. Geothermal
21 Geological Survey projects as identified
22 resources. That includes what's viable and
23 proven but also includes what's marginal and
24 what's not marginal. So that's basically the
25 total resources out there in the world, so you

1 can see how much growth there. And that's where
2 you could start seeing the U.S. show up.

3 That light blue, I highlighted that one
4 bar in light blue for the United States, it's --
5 to the extent that we can prove up the
6 technology, basically, I can pretty much fill
7 that bar with just Salton Sea brine. Our
8 reserves, if we tested and proved up our
9 technology, our -- the Salton Sea brine would
10 fill that bar. And if proven up, we'd be the
11 second largest resource in the world.

12 That puts it all in perspective. We're
13 talking about a big volume here.

14 On the other side of that, though, is
15 that do we really need that much reserves?

16 So if you look at the -- if we did prove
17 up all the -- all that identified resource, now a
18 lot of that is in Bolivia and Argentina which
19 questionable whether it will ever be, but if you
20 did you'd basically be looking at 300 years'
21 worth of reserves, which is way more than we
22 need. To compare that in one bullet there, I
23 show for oil and natural gas markets, you've got
24 about 90 years' worth of reserves for natural gas
25 and 70 years' worth of reserves in oil and

1 there's no on panicking.

2 So it's almost like, again, from a
3 layman's view, it seems like that's almost, like
4 that's plenty. That's like the sweet spot. You
5 have 50 to 100 years' worth of reserves.
6 Everybody's comfortable. They're not getting any
7 big run ups.

8 I remember back in the, I guess it would
9 be the late '90s, early 2000s, when gas started
10 to get tight and we started hearing numbers
11 around 20, 10-years or 20-years' worth of
12 reserves and prices skyrocketed eight bucks on
13 MMBTU. So you can see where it gets more
14 constrained, but everybody seems to be very
15 comfortable at 90.

16 So with that said, you look at those dark
17 red bars, basically, that adds up to 90-years'
18 worth of proven reserves for lithium based on
19 2025 demand projections of roughly 950,000 tons
20 per year.

21 I should actually also comment and make
22 note that on these charts, it's based on the
23 geographical survey units. It's just the
24 lithium, the raw lithium is not lithium carbonate
25 equivalent which is mostly on the market, so we

1 always talk about the carbonate equivalent. The
2 lithium itself and lithium carbonate is only
3 about 18 percent, 18.8 percent of the lithium, so
4 that's why you see the numbers look a lot smaller
5 but in perspective you can see the difference.

6 That little -- the inset there, the chart
7 for the lithium production for last year was only
8 43,000 tons last year of raw lithium worldwide.
9 So you can see how small a volume that is
10 relative to the reserves we have.

11 So the final conclusion of this chart,
12 what I'm really trying to present, is that it's
13 not about the actual resource, it's not about
14 having the resource, there's plenty in the world.
15 What's really going to drive where lithium comes
16 from in the future is basically the production
17 costs, which Logan alluded to, the location
18 relative to market, and thirdly, which we've a
19 lot of, is quality. The quality is also
20 important.

21 We've been working and this last year-
22 and-a-half, as we're trying to get our
23 development off the ground, we've had a lot of
24 interest from battery manufacturers, from OEMs
25 and the like, and we've heard that quality is a

1 big focus of theirs. That 99.5 or better quality
2 for a quality battery is an important part of it.

3 I've also heard some battery
4 manufacturers tell us that they take one to two
5 years to prove up a source for lithium, so it's
6 very sensitive to the quality. And they'll
7 spend -- take a year or then some just to prove
8 that it's going to work for their batteries. So
9 it's a sensitive chemistry for sure for the
10 batteries. So we need to focus on that if we're
11 going to be a player in this market. Clearly, we
12 have the volume of it, and hopefully we have the
13 cost curve.

14 Here's another version of the supply
15 stack that I picked up from CANACCORD. This one
16 looks -- I've seen various versions of this.
17 This one, to me, looks like the most realistic,
18 from what I've heard and talked to others. And
19 this is where I see the geothermal cost curve for
20 our variable cost of operation. This, again,
21 we're not in the business today. We're actually
22 working with a lot of developers and everyone's
23 quoting me numbers in that order of magnitude, of
24 \$4,000 to \$5,000 a ton for operating costs. A
25 lot -- some of that's driven by power costs, man

1 hours and such and chemicals and processing. In
2 that would also include what we would charge to
3 access the brine for royalty structures and so
4 on.

5 So it shows that we're competitive. This
6 chart shows us as competitive if not more
7 competitive than the Chile brines, which made it
8 very exciting. So to the extent we have that
9 whole region of the Salton Sea area, I could say
10 we could go up as high as, based on our
11 announcement and our geologist reviews, as well
12 as others in the area, could be as high as
13 600,000 metric tons a year, but that's basically
14 the entire growth from 300 today to 900 by 2025-
15 2030, we could fill all that. Now, obviously,
16 there's a lot of hurdles and a lot of barriers to
17 get there. But I'm just saying that the
18 product's there, and the cost structure seems to
19 be there too. This is all desktop right now.
20 This is all under development. We need to get
21 through that and prove it out and get it on the
22 ground because there's a huge opportunity there
23 for California.

24 And the U.S. Geological Survey suggests
25 that that's for North America-wide. I have no

1 idea what's in that, their numbers don't give you
2 the granularity of what regions. But I'm just
3 looking at this and seeing that the Salton Sea
4 area could supply and meet that demand just in
5 itself. So I'm not sure where their numbers are
6 coming from versus what my geologists are telling
7 us, but definitely we have the volume in the
8 Salton Sea in California.

9 This is a cost curve for -- as of 2018.
10 They also offer a version of that, what it's
11 going to look like in 2025 when you start getting
12 into the volumes. In this particular forecast,
13 they suggested the demand by 2025 is a little bit
14 more aggressive than Logan is showing, about 920
15 metric tons per year of lithium carbonate. You
16 can see that the brines are expanding, as well as
17 also the hard rock developments to meet that
18 demand. In both cases, you're getting that
19 marginal cost of in the close to \$10,000 a metric
20 ton, which is more than enough relative to the
21 cost curve, what I'm hearing and projecting for
22 geothermal production.

23 And it makes sense that the geothermal
24 has got a similar cost structure to the brines in
25 Chile. It should be cheaper because our access

1 to our brines should be easier, less challenges
2 than you have up in the high hills of Chile, so
3 there should be some logistics there.

4 Part of this, too, I'll mention that in
5 my previous chart I mentioned that the location
6 is a big driver. We've had a huge amount of
7 interest as we're trying to, again, put out this
8 brine.

9 I should mention that BHE is a bit
10 conflicted whether we really want to get into the
11 mineral extraction business ourselves. Our
12 history was we actually went after this once a
13 long time ago. Back in the late '90s, early
14 2000s, we went after zinc, so we've always had in
15 the mind to go after mineral extraction back in
16 our more entrepreneurial days.

17 We've grown to be a much larger company
18 and much more utility focused. It's questionable
19 whether it's still in our DNA to after a new line
20 of development like this. We definitely want to
21 untap this value proposition and get at it.
22 We're looking for others to do it for us and
23 we'll just collect a royalty. We're just as
24 happy to sit on the sidelines and collect a
25 royalty, a low-risk royalty.

1 At the same time, I'm thinking that to
2 the extent that we can't find somebody to pick it
3 up, we may very well get it into it ourselves, at
4 least start moving down that road and proving up
5 and de-risk the technology. But to the extent
6 someone else can take it on, we're more than
7 happy to sit and just promote others to do it for
8 themselves.

9 But what we have had, so we've gone
10 through and we've spent the last year going
11 through ARFVTP to bring some developers worldwide
12 into this. We've had lots of interest but
13 everyone's got some hesitation. Back to what
14 Logan said, there's some market hesitation
15 whether it's really needed. There's a technology
16 concern. There's lots of uncertainty around
17 technology. Whether it's warranted or not, I'm
18 not sure, but there's hesitation for sure.

19 At the same time, we've had a lot of
20 interest in the battery manufacturers very --
21 watching with a very keen eye what happens here
22 because they do seem to have a need or an
23 interest in a North American supply, whether it's
24 geo-political risk or if it's just location
25 relative to the local markets for the auto OEMs

1 that we have in North America that want to source
2 it locally.

3 We've worked closely with Tesla. Tesla
4 is basically who we talk to, we want to sign up.
5 They have an interest for at least 30,000 metric
6 tons from the Salton Sea alone, so there's
7 clearly some pent up interest and demand for
8 North American supply. It may otherwise be,
9 partly, just to diversify their supply from
10 multiple regions.

11 Here's a chart here, it's a little
12 outdate, it's from a different consulting group,
13 showing the -- a more subtle demand growth over
14 the course of the next ten years or so, going
15 until 2030, peaking about at about a million --
16 or a 100,000 -- or a million metric tons per year
17 by 2030. I put this chart here just more to show
18 where it's coming from, and Logan touched on it,
19 as well, so I don't need to go into much detail,
20 but the key here is that it's coming from the
21 auto industry. It's definitely electric
22 vehicles.

23 We like to think that energy storage is
24 going to be a big part. Well, we're not seeing
25 that in the projections at all. It's kind of

1 growing and I'd like to see it grow more. Being
2 from the energy industry, I'd love to see us do
3 more on that side. But at the same time, we're
4 just not seeing the big growth demands, or at
5 least projections of that. And, quite frankly,
6 on the geothermal side, I'm happy to see that.
7 That means there's a bigger role for geothermal
8 for base load. But either way, that's going to
9 play out.

10 But the big thing is as we make
11 projections and think about what's the likelihood
12 of this market, it's really focused on we've got
13 to watch the auto industry.

14 With that, I'd like to take you to this
15 chart. On the righthand side, that's a chart of
16 last year's total sales of worldwide vehicles,
17 all kinds. Look at the length of China. You're
18 talking 30 million cars sold last year, compared
19 to everybody else. So clearly, China is leading
20 it. And why I've picked up this chart, that's
21 what I'm trying to get, that's the picture I want
22 to show, like that's really what's growing. We
23 should be watching China closely. If China, for
24 whatever reason, changes gears the lithium demand
25 will fall off.

1 But we do have -- the U.S. has a big role
2 to play, as well, as well as the others. And
3 this is, obviously, in order. So this is the top
4 25 and you can see as you go to smaller
5 countries, you get less demand, less auto sales
6 in total. So that's just the market share
7 potential is there.

8 On the left-hand side I show a chart of
9 all the announcements by governments of targets
10 and policies and what they're trying to get to,
11 to address global warming. And you can see that I
12 put this, I think, in somewhat order of magnitude
13 and impact, China being the biggest with at least
14 20 percent of sales by 2025 is their target.
15 That's a pretty big target when you look at the
16 size of the volume that they sell on an annual
17 basis, which corresponds to 7 million cars. And
18 they have a target by 2020 of 2 million.

19 An interesting point, too, on these guys,
20 that they -- for China, they have over 140,000, I
21 think, charging stations today in China, so
22 they're clearly setting up for this. They have a
23 goal of 500,000 charging stations in China by the
24 year 2020, so they're definitely setting up.
25 They're getting ahead of the curve and getting

1 the infrastructure there to make it easy to
2 convert.

3 India is another big one. Earlier this
4 year they made an announcement that they were
5 going to try to get off -- ban all petro and
6 diesel by 2030 which was, for me, a big
7 eyeopener. They've, since then, reduced that
8 down to only 30 percent, but it's still sizeable,
9 by 2030. And I think there's some back and forth
10 in that country to try to see what the real right
11 number is from, but they're somewhere between 30
12 and 100 percent by 2030.

13 Germany is also -- Germany, you'll see
14 that, also, and with about by 2020 they're going
15 to have a million cars, and they want to be off
16 petro by 2030, also leading the charge on that.

17 The United States has a role to play
18 here, as well. You have, with the California
19 Clean Vehicle Incentives, you have the Zero
20 Emission Program, that's really basically working
21 out to be what they're forecasting to drive about
22 eight percent of sales by 2025. And there's been
23 nine other states, I think, that's followed suit
24 with California. That adds up. That's
25 equivalent to roughly 30 percent of all car sales

1 in North America. It's not anywhere near what
2 China is doing, but it's definitely a good
3 standing.

4 The European Union is making some
5 projections. They're trying to make it easy to
6 convert. They're looking at parking spaces.
7 They're mandating ten percent of all buildings by
8 2023. And they are putting more like emission
9 targets of 95 grams of CO2 by 2021, so they're
10 coming at it from more of an emissions
11 perspective.

12 France by 2040, not as aggressive. The
13 Netherlands by 2030. The U.K. by 2040 with the
14 Scottish going after more like 2032.

15 And then Norway is probably the most
16 aggressive, just, unfortunately, the smallest
17 market, they're going ban by 2025. And they've
18 got the most conversion to date than any other
19 country. I think they have 16 percent converted
20 by now.

21 On the other side, I won't go into too
22 much detail here, but just the response from the
23 auto production, you've seen that the major
24 players are all following suit. They're taking
25 this serious, as well. BMW and Daimler Mercedes

1 Benz both making projections of 15 to 20 percent
2 vehicle share by 2025. So I won't read off all
3 these. You can read them for yourselves at a
4 later date. But basically, you can see that both
5 pieces, on the government policy side and the
6 auto industry following suit, you're definitely
7 seeing this wave.

8 So back to those charts that both Logan
9 and myself showed, it seems to be real. I don't
10 think this is going to go away or fade away. It
11 seems like, if anything, it's going to pick up
12 and continue to be more and more aggressive.

13 My last slide, I just want to show, what
14 does this mean to us as far as potential?

15 So here's -- for a number of reasons,
16 this slide here shows a couple of things.
17 Ignoring the red box for the moment, the economic
18 development for the Imperial County, what does
19 this really mean?

20 If we were just to produce our 90,000
21 metric tons, which is just our existing
22 operations which are basically flowing today and
23 could be converted over the next three to five
24 years, for construction alone to build out the
25 four facilities, because we do it by region, we

1 can get about 230 workers on average for over
2 four years, so that's just the workers, to build
3 the facilities. And again, this is high-level,
4 back-of-the-envelope estimates but we're talking
5 roughly around 400 employees for full-time
6 employment to operate those facilities. This
7 compares to what we have in the -- for the power
8 generation for these same assets, we have over
9 230 employees. So this would be almost double
10 our employees and double the footprint, so it
11 kind of fits. So that's just the job size in an
12 area that could definitely use the jobs.

13 You're talking about the actual
14 construction and expenditure of roughly -- this,
15 again, high level -- and I'm hearing a range
16 between \$1.5 billion and \$2.5 billion to --
17 depending on what technology and how you go at
18 it, so roughly, peg in the middle of about \$1.8
19 billion of investment in this region, just to go
20 up to the 90,000 metric tons a year.

21 And you're talking contractor
22 expenditures on an annual basis, if you do use
23 outside contractors, in the order of magnitude of
24 about \$18 million a year.

25 Leaseholder royalties, again, this is a

1 model where we would actual just collect a
2 royalty. In this case, we're looking at pegging
3 at only five percent royalty, we'd pass on \$4.5
4 million a year to our leaseholders.

5 And taxes, I'm pegging it roughly in the
6 order of magnitude of \$20 million of additional
7 taxes going to Imperial County.

8 One thing I wanted to just answer,
9 because I've heard the question come up a few
10 times in the past on some other calls we had, is
11 the how does this compare, how cost effective is
12 this? Is this economic to do so? Where's the
13 value proposition? So I did some really simple
14 math here just to kind of put in perspective.

15 At \$1.8 billion, your cost of capital, if
16 you will, of the 20 percent cost of capital,
17 about \$360 million spent over 25 years. An
18 operating cost of, like I said before, about
19 \$4,000 a ton, you're talking another 360,000 --
20 \$360 million, sorry. So it's \$720 million we're
21 talking of total cost against a revenue
22 opportunity at what I consider the low end of the
23 spectrum of \$10,000 a metric ton, you're talking
24 \$900 million, you still have a couple hundred
25 million dollar flow between the two.

1 This little red square, it almost
2 perplexes me why we haven't done this. I'm
3 shocked that there isn't people all over this
4 thing already building, although we tried last
5 year and there's some hesitation going on. I
6 don't know what they don't see in that red square
7 but -- and this is a value prop that we've got to
8 get to.

9 And I'll leave it at that now and sort of
10 for future discussion. But that's basically the
11 perspective of how we see it from -- how the
12 Salton Sea might play into this.

13 (Applause.)

14 COMMISSIONER HOCHSCHILD: Thank you.
15 Thank you very much.

16 In a minute, I wanted to invite
17 Assemblyman Garcia to share some of his thoughts
18 and vision on this topic as we explore lithium as
19 the new oil, but I wanted to just make two
20 points.

21 One is that, you know, you've perfectly
22 illustrated why this is an example of our
23 environmental and our economic visions kind of
24 overlapping here. And it strikes me that it's
25 very clearly a co-benefit of geothermal to be

1 able to help facilitate this.

2 And I wanted to say, secondly, that we do
3 now have 12 electric vehicle manufacturers
4 operating in the state of California and three of
5 them are really at significant scale now with
6 Tesla, BYD and Proterra. And, you know, none of
7 that lithium is being sourced in California today
8 and that's a real opportunity for us to be
9 actually supplying California manufacturers with
10 California lithium.

11 So with that, let me welcome Assemblyman
12 Garcia, a real champion for this issue and for
13 his district.

14 Thank you for being with us.

15 ASSEMBLYMAN GARCIA: Thank you,
16 Commissioner. It's a pleasure being here. I was
17 thinking, you know, that's my district; right?
18 That's our home. And a lot of familiar faces
19 here who have been working very hard on pushing
20 the issue of more baseload energy being
21 integrated into the overall California grid. And
22 we've tried this way, we've tried that way, we've
23 tried going over, under, through, right, back
24 door, side door, and we continue to receive this
25 conversation with a tremendous amount of

1 resistance.

2 And so today, right, we're having the
3 conversation where we're now looking at it from a
4 perspective that may be isn't new but certainly
5 one that, again, aligns with our goals. What do
6 we -- we have a quadrillion cars that we want to
7 put on; right? Is that even a word, quadrillion?
8 A speaker was saying the only day, the only
9 person that can make up words and people just
10 kind of nod their head was Senator Kevin de Leon.
11 He's the one (indiscernible) anymore, no
12 question.

13 But we have an aggressive goal to put a
14 handful of electric vehicles on the roads by a
15 certain date. And here we have a unique
16 opportunity in a place in California that ranks
17 at the highest when it comes to unemployment,
18 health disparities, seven out of ten children
19 suffering from respiratory disease problems. And
20 here is a unique opportunity to address a handful
21 of those issues by simply aligning our objectives
22 with California's policies that are in place
23 already. And, you know, we appreciate all of the
24 work that's been done already to move the
25 conversation and develop a framework for policy

1 to be discussed at the big house across the
2 street.

3 But really for us, it's a matter now of
4 really taking it a step further and getting
5 overall buy-in, that this no longer be an issue
6 simply being discussed by the legislators who
7 represent Imperial County, but that the entire
8 state of California see the value of this unique
9 resource that we have out in this region. And
10 when you hear us talk about the Salton Sea, it
11 isn't just the issue of a drying up body of water
12 but a place in which, you know, we could develop
13 thousands of jobs, both on the energy side and
14 now using these minerals to ensure that we have
15 the necessary batteries to address the needs that
16 we've set forward as it relates to the vehicles
17 we want to put on the road.

18 And so we appreciate that this
19 conversation is happening because it has to
20 extend beyond, you know, Senator Hueso and
21 Eduardo Garcia and the Salton Sea Authority and
22 the developers out in the Imperial County. It
23 has to resonate statewide and that the entire
24 state of California recognize this unique and
25 valuable opportunity that we have in what people

1 will refer to as kind of the most southern part
2 of the state.

3 But I like to say it's the beginning of
4 the state and it's the place in which there is
5 undoubtedly a tremendous amount of synergy when
6 you talk about renewable energy in California and
7 around the world. There is no other place like
8 Imperial County when you talk about, you know,
9 the three, four legs to the stool, when we're
10 talking about all of the various opportunities
11 that we have, I mean, you know, from biofuels to
12 now the lithium battery that comes from the
13 development of some baseload energy to stabilize
14 California's energy needs and grid.

15 So I wanted to come in and just really
16 acknowledge the fact that this is a very
17 important roundtable that you're having for the
18 purpose of it spilling over to the public policy
19 debate that will undoubtedly happen again in
20 January. We're not going to spend our time in
21 the legislature and not push for stronger
22 economic development policies that intersect with
23 good environmental policies for California, and
24 that's exactly what we're talking about here in
25 this small piece of the presentation that I got

1 to listen in to.

2 So I'm happy to entertain any questions.
3 I do have to run in a few minutes back to the Air
4 Resources Board. I was fortunate enough to be
5 able to sneak out. There's a list of 70 public
6 speakers time three minutes, so that's about
7 three-and-a-half hours of public testimony that
8 allowed me to come out for a few minutes. I
9 think they're about midway through, discussing
10 some very, you know, boring topic like cap and
11 trade, you know, like cap and trade.

12 So happy to entertain a little dialogue,
13 if you so choose. If not, I'll excuse myself.

14 COMMISSIONER HOCHSCHILD: By all means.
15 Thank you. I'm sure you're very good at that
16 math, of calculating the number of speakers and
17 how much time.

18 Are there any questions for Assemblyman
19 Garcia? Anyone?

20 So you know, the one point I would make
21 is that, you know, the lithium we're talking
22 about today could be used to supply energy
23 storage which we'll need to get to SB 100, and
24 also transportation. I think with
25 transportation, we should bear in mind how

1 quickly it's possible for the transition to
2 happen.

3 There's a wonderful photo of New York
4 City, 5th Avenue in 1900, all horses and buggies
5 and one car. And then 13 years later in 1913,
6 same street, all cars and one horse and buggy.
7 And I think that that kind of transition is
8 possible with electric vehicles.

9 And I'd note what happened last time in
10 Norway is very significant; right? First country
11 in the world with a majority of passenger
12 vehicles sold in the market were battery-electric
13 or hybrid battery-electric vehicles. And you
14 know, once you cross that threshold, you don't go
15 back. And we will hit that point in California
16 as to --we didn't talk about it in the
17 presentations earlier, but as the energy density
18 of lithium ion batteries improves and you get
19 longer range, I mean, that really meets the needs
20 and we get -- you know, the other -- the advent
21 of these fast chargers.

22 So Electrify America has just gotten
23 through UL earlier this year an EV charger that
24 does 20 miles of charge in one minute, 200 miles
25 in ten minutes. And that is really no different

1 than going to a gas station, you know? And so
2 that's where we're headed.

3 I'm actually having dinner with the CEO
4 of Electrify America tonight. And, you know, I'm
5 optimistic we're going to see new technologies
6 come out.

7 So I mean, we have to -- this
8 conversation as applying to lithium for that
9 growing market is really key.

10 So with that, let's say thank you to
11 Assemblyman Garcia for coming and joining us.

12 (Applause.)

13 COMMISSIONER HOCHSCHILD: One thing I
14 wanted to do before we proceed any further is
15 just do a round of introductions. If I could ask
16 everyone to go around and say your name, your
17 organization and how you're looking at this issue
18 real briefly?

19 Danny, let's start with you.

20 MR. KENNEDY: Hello. My name is Danny
21 Kennedy. I'm the Managing Director of the
22 California Clean Energy Fund. Amongst other
23 programs and funds, we manage the CalSEED Fund,
24 the Sustainable Energy Entrepreneur Development
25 Initiative for the California Energy Commission.

1 That's a \$25 million early stage grant program
2 that's intended to find and fund and foster the
3 next 100 companies California needs to meet its
4 energy goals.

5 We had the good fortune of finding one
6 such company in Oakland last year called Lilac
7 that we backed about 18 months ago. And they
8 sort of raised our awareness to this lithium
9 extraction opportunity. They're a specialty
10 lithium extraction business looking at geothermal
11 and continental brines out of Northwestern
12 University. They've spun out and moved to
13 California because that's where the innovators
14 come to do clean energy work. And you know, we
15 think that they're one of the rising stars in our
16 portfolio of about 46 companies now. But they've
17 really opened our eyes to the fact that we need a
18 whole innovation cluster and industry development
19 around this opportunity of the Salton Sea.

20 MR. WILCOX: Bruce Wilcox, Assistant
21 Secretary, California Natural Resources for
22 Salton Sea Policy.

23 MR. BOWLES: Trelynd Bowles, Office of
24 Planning and Research, and acting as a liaison to
25 local governments for issues on renewable energy,

1 but also interested as someone who lived in
2 Thermal on the north end of the Salton Sea. So I
3 spent a lot of time there growing up, so I'm
4 definitely interested in hearing from the folks
5 here who are from there.

6 MR. ROSENTRATER: Phil Rosentrater,
7 Executive -- pardon me -- Executive Director of
8 the Salton Sea Authority. We're the home, as you
9 earlier heard, the epicenter of the largest, most
10 diverse renewable energy portfolio in America.
11 We intend to use this for the greater good and
12 look forward to geothermal and brines being part
13 of that.

14 MR. ECKERLE: I'm Tyson Eckerle, the
15 Deputy Director for Zero-Emission Vehicle
16 Infrastructure at the Governor's Office of
17 Business and Economic Development or GO-Biz. And
18 so my job is really to make sure that all those
19 projections come true and the infrastructure
20 enables that.

21 MS. WALL: Anna Wall. I'm the Vice
22 President of Capstone Headwaters. We're an
23 investment bank in which I focus specifically on
24 mining investments (indiscernible).

25 COURT REPORTER: Can you come up to mike,

1 please?

2 MS. WALL: Okay. So in my role, I
3 particularly focus on -- actually, brine mineral
4 extraction is my specialty. I've been following
5 the industry and early-stage technologies for
6 about four years. And my background is in
7 geothermal, having been a geothermal chemist. So
8 I'm particularly interested in this field.

9 MR. KELLER: I'm Randy Keller with --
10 Vice President of MGX Minerals. We've developed
11 a rapid extraction technology to extract lithium
12 and other elements from wastewater streams, mine
13 tailings and natural brines.

14 MR. HORNE: Hi. I'm Andy Horne. I'm the
15 Deputy CEO with the County of Imperial. This is
16 obviously a very interesting subject for us down
17 there in the County, so interesting that I was up
18 at three o'clock this morning to head to San
19 Diego to catch my flight.

20 And I've got to tell you, Eric, when you
21 got to this slide here I was nodding off a little
22 bit. But when you got to the next page about the
23 \$20 million in tax revenue, I am now wide awake.

24 MR. BENSON: Derek Benson, Chief
25 Operating Officer with EnergySource Minerals. So

1 we are, and I refer back to Eric's slide, we are
2 one of the other geothermal operators down on the
3 Salton Sea currently running one project,
4 nominally, you know, 50 megawatt unit. So we
5 are, you know, in the geothermal power space
6 today and looking at, you know, how to develop
7 that in our resources.

8 MR. MENGERS: Josh Mengers with the
9 Department of Energy, U.S. Department of Energy,
10 working with the Geothermal Technologies Office.
11 We've managed a few projects and R&D in mineral
12 extraction, including lithium. I'm really
13 interested in seeing what comes out of the Salton
14 Sea. That's obviously the best opportunity. But
15 if that's a good test case, we're interested in
16 seeing if we can scale that to other geothermal
17 resources across the country.

18 MS. VENTURA: Susanna Ventura from SRI
19 International. I've been working over the past
20 four years on developing materials and processes
21 for the extraction of lithium from geothermal
22 brines, the continental brines, other brines.
23 And the sponsorship (indiscernible) the
24 Department of Energy and now currently the
25 California Energy Commission sponsorship and

1 focusing specifically on geothermal brines.

2 MS. DE JONG: I'm Elisabeth de Jong. I
3 work on the Geothermal Grant and Loan Program
4 here at the Energy Commission in the Renewable
5 Energy Division.

6 MR. GINLEY: I'm Dave Ginley. I'm the
7 Chief Scientist at the National Renewable Energy
8 Lab. We are a national laboratory dedicated to
9 renewable energy, both from the basic science
10 level all the way up to the systems and system
11 analysis levels. So we do analysis on these
12 kinds of programs, as well as doing basically
13 system development.

14 MR. WEISGALL: Jonathan Weisgall, Vice
15 President for Government Relations for Berkshire
16 Hathaway Energy. We're the holding company for a
17 number of different companies, including
18 Berkshire Hathaway BHE Renewables. I go back to
19 the -- I think I was employee number 12 at what
20 was our original company which was CalEnergy, the
21 geothermal company. As you saw on Eric's map,
22 we've grown quite a bit since then.

23 And my memory goes back to around 2000
24 when we put together a program to extract zinc
25 from our minerals down at the Salton Sea. We

1 were pretty big loss leaders for Berkshire
2 Hathaway that year. But I will tell you that
3 lithium is going to be one of our top priorities
4 for 2019 and going forward. The numbers cry out
5 for this development. It needs a tremendous
6 amount of capital. There's a lot of risk
7 involved, I'm sure we'll talk about that in the
8 rest of the afternoon. But this is something
9 very important for our company.

10 MR. BESSELING: Eric Besseling with
11 Berkshire Hathaway Energy Renewables. My
12 responsibility, I didn't get a chance to present
13 that when I was up, standing up, my
14 responsibility is V.P. of Business Development.
15 I focus on the existing assets and the ongoing
16 marketing of the existing assets and new
17 development, as well as monetizing the mineral
18 extract value that we have.

19 MR. GOLDIE-SCOT: Logan Goldie-Scot,
20 Bloomberg NEF. I think you've probably heard
21 enough from me, so --

22 MR. GENTRY: Chuck Gentry with the
23 Research and Development Division here at the
24 Energy Commission. I'll be moderating the first
25 panel discussion.

1 MR. SOKOL: Good afternoon. I'm Michael
2 Sokol, Manager in the Renewable Energy Division
3 here at the Energy Commission. And thank you,
4 everyone, for joining us.

5 MR. RIDER: Ken Rider. I'm Chief of
6 Staff to Commissioner Hochschild. And I'm
7 already excited about what I've heard so far and
8 look forward to the rest of the day.

9 COMMISSIONER HOCHSCHILD: Okay. Thanks.
10 Take it away.

11 MR. GENTRY: All right. So this first
12 panel discussion, we're going to be focusing on
13 the technical and economic challenges. We're
14 going to discuss the challenges that need to be
15 overcome to expand production of lithium recovery
16 from geothermal brines. And let's just jump
17 right into it.

18 The first question is: What are the
19 current technological limitations for lithium
20 production from geothermal brines? And I think
21 to start off, Susanna could you start us off?

22 MS. VENTURA: Sure, I'll be happy to
23 start. And I just --

24 COURT REPORTER: Can you move closer to
25 the microphone?

1 MS. VENTURA: A little closer?

2 COURT REPORTER: Yeah.

3 MS. VENTURA: Yeah.

4 COURT REPORTER: It's got to be
5 manageable.

6 MS. VENTURA: Okay.

7 COURT REPORTER: Thanks.

8 MS. VENTURA: Okay. Got it.

9 I just want to mention that, as I said
10 before, we, at SRI International, we have been
11 working on developing materials and processes of
12 the extraction of lithium from brines. I want to
13 also mention that we are in discussion to -- with
14 a company to commercialize this technology, a
15 company, a private company that will license this
16 technology. So while we -- we want to move the
17 technology from a lab demonstration to actual
18 field demonstration. And I think this is
19 definitely needed. Geothermal brines in
20 particular are very complex systems. And it is
21 critical that we are able to make this
22 demonstration onsite.

23 What I would like to mention, also, that
24 geothermal brines are a particularly complex
25 system because they contain a very high number of

1 minerals besides lithium. So I think there is an
2 opportunity. I think it's important that we also
3 think about extracting selectively other
4 minerals, as we have heard before, zinc,
5 manganese, there is a lot of manganese in the
6 Salton Sea, and potassium, for example. So that
7 will really help, I mean, reinforce the overall
8 process, economics, reducing also probably the
9 pretreatment (indiscernible), so making them more
10 effective.

11 So I think those are the two points that
12 I wanted to emphasize, a demonstration on
13 actual -- at actual sites and co-extraction of
14 other minerals, I think it will be important to
15 demonstrate.

16 I also want to mention that the company
17 with which we are having discussion, our target
18 is to build a skid-mounted system next year. So
19 we look forward to have this kind of
20 demonstration in the field at various sites.

21 MR. GENTRY: Okay. Thanks.

22 And if anyone else has something --
23 someone else on the panel has something they want
24 to say -- go ahead, David.

25 MR. GINLEY: Yeah. So I guess I'd like

1 to say that I think that, one, you have to look
2 at the whole system when you do this because
3 these -- all these processes take substantial
4 energy. And so thinking about where to get that
5 from, whether that's solar, whether it's from the
6 geothermal plant, otherwise.

7 But I also think that the other thing
8 that's critical is over the last, we'll say ten
9 years charitably, separate technologies have
10 changed dramatically. And what we used to use in
11 terms of, you know, brine pools and all is
12 obviously not useful for geothermal because you
13 lose the water, which California can't afford to
14 do in any case. But there are now approaches
15 that are much, much more energy efficient and
16 much more selective for particular ions.

17 So along the lines, if we know what the
18 makeup of the brine, a particular brine is, you
19 can actually target specific ions in that brine.
20 And I think lithium is certainly the big win,
21 it's the easy win, and there's going to be an
22 immense demand. I would actually argue that
23 maybe you're actually underselling the demand
24 because I think, one, EV growth is going to be a
25 little bit more rapid. But I also think there's

1 some models that show that EVs on the grid
2 provide grid-based storage which helps the
3 baseload, you know, for renewables.

4 But I think these separation technologies
5 are really advancing rapidly and I think it takes
6 a champion. And I think California is the
7 perfect champion to begin to evaluate this
8 because, one, you already have the production
9 facility and, two, you have a well-known brine
10 that we can actually do decent chemistry and
11 separation science on.

12 MR. GENTRY: Thank you, David.

13 Yeah, I think with this topic it's --

14 COMMISSIONER HOCHSCHILD: I think you had
15 one comment here.

16 MS. DE JONG: You had one comment.

17 MR. GENTRY: Oh, yeah. Anna?

18 MS. WALL: So, just given my background,
19 I can kind of give a little bit more context if
20 you all don't mind.

21 So one of the biggest challenges in some
22 of these specific selection technologies is
23 temperature. So some of these technologies have
24 been proven on the bench shop scale but they've
25 been at surface temperature. And dealing with

1 geothermal brines, especially having to deal with
2 materials chemistries, material engineering for
3 the kind of temperatures that you're dealing with
4 in a geothermal system are particularly
5 challenging.

6 But the only way that we're going to
7 know, as to Susan's point, is to have a demo in
8 place with live brines and actually showing
9 people that this works. Obviously, you can do as
10 much testing as you want. But the more that
11 there can be a sample brine, some type of source,
12 and seeing it work is going to be the best door
13 to the process.

14 Secondly, to Dave's point, there is --
15 and also Susan's, is the complexation within the
16 chemistry itself. And the brine creates
17 particular problems with different types of
18 technologies. Not one solution is going to work.
19 Some technologies, particularly, for example,
20 like absorbent system, they would have to
21 selectively choose out the lithium. If there's a
22 high level of magnesium, that can be a challenge.
23 Certain chemistries and certain technologies have
24 problems with other types of ions. Again,
25 there's also the caustic behavior of the brine

1 itself that creates certain challenges.

2 So the more that I can say is that that
3 is really currently the limitation, is not having
4 enough testing on the actual brine itself to know
5 what are the solutions and what is the iterative
6 process and improvements that they need to move
7 forward?

8 MR. GENTRY: Thank you.

9 Go ahead.

10 MR. MENGERS: So I'm going to echo that I
11 agree with what has been said here. But going
12 back to the technical challenges, doing the
13 testing onsite is okay but the scale-up is going
14 to be really difficult. The U.S. Department of
15 Energy, we're right now focused on early-stage
16 R&D, low TR, technology readiness levels. That's
17 not really our bailiwick right now. We're not
18 going to be able to work on the scaling up
19 process of that and I think that's going to be
20 probably one of the largest hurdles in getting
21 this commercially deployed.

22 MR. GENTRY: Thank you.

23 MR. BESSELING: If I could just add to
24 that? From our past experience, the scaling up,
25 for sure, we experienced that with our attempt to

1 go after the zinc and the brine. We did it at a
2 pilot plant level. We kind of skipped going to a
3 demonstration plant and went right to commercial
4 scale and we struggled with that. And we found a
5 lot of problems as you scaled up. And at the
6 time, it's not that the technology was completely
7 flawed, it's just that it meant more capital to
8 throw at it to make it work. At the time the zinc
9 was nowhere near the value of lithium which, in
10 that case, we abandoned the project.

11 So by all means, yeah, learning how to
12 scale it up at a demonstration plant, our
13 learnings was we definitely can't skip that step
14 because you can save yourself a lot of money in
15 design work by doing a demonstration plant, like
16 a one-tenth scale, which would kind of somewhat
17 emulate that scaling up version without putting
18 too much money at it.

19 With that comes the technical/commercial
20 challenge is that to build that kind of mini
21 scaled-up version, you're talking in the order of
22 magnitude of \$50 million to \$100 million. So
23 it's a lot of development at-risk money before
24 you know you've got something that can take
25 commercial. And that's, I think, the biggest

1 challenge we're having trying to bring a
2 developer to our brine to proceed with it is that
3 it's not talking about \$10 million, see where you
4 go with it, it's spend \$100 million and see where
5 you go with it, and that's a lot of money for
6 investors.

7 MR. GENTRY: Thank you, Eric.

8 Jonathan, go ahead.

9 MR. WEISGALL: Just one quick additional
10 point in terms of that R&D. One thing we would
11 do as a company would immediately offer up our
12 resources for any kind of onsite development. In
13 response to your comment, I mean, you've got to
14 do onsite. You can't do that in a lab in Denver
15 or somewhere else. And it would certainly be in
16 California's interest, in our interest, as well,
17 to make the appropriate arrangements that
18 whatever truing up would be needed, we would
19 certainly be willing to. And we'd have to work
20 out those circumstances but working out where
21 that could occur at our facilities or some of the
22 others in the Salton Sea. It's got to be done
23 inside, onsite.

24 MR. GENTRY: Derek?

25 MR. BENSON: Yeah. So maybe to pile on a

1 little bit in terms of the issue of temperature
2 and a couple other comments to make. It may fill
3 in the question too.

4 But you know, the geothermal industry is,
5 I think, generally a little bit underserved when
6 we talk about technologies. And so I think one
7 comparison to make is like in the oil and gas
8 base, we benefit from a few hand-me-down sort of
9 technologies but ultimately those oil and gas
10 technologies tend to break down, literally, at
11 400 degrees. So there's a lot of skill in the
12 oil and gas industry that we leverage but
13 ultimately we have to go out and find a unique
14 solution to a well that's 16 inches in diameter
15 and 500 degrees. Nobody else does that.

16 And I think when we talk about looking at
17 minerals, you made the comment, you know, we're
18 playing with brine that's still over 230 degrees
19 Fahrenheit when it leaves a geothermal power
20 plant. Most mineral technologies are, you know,
21 hand-me-down from Salar's which are typically
22 running at, you know, ambient air temperature.

23 So every step of this process is going to
24 require some new and novel approach or leverage,
25 a multitude of technologies. So as we look at,

1 and I go back to, I guess, Logan had the comment,
2 you know, don't look at things in silos. I mean,
3 ultimately, any mineral extraction is very
4 dependent on geothermal. But I think it's
5 important to not only look at lithium because,
6 ultimately, you hear conflicting stories of
7 whether it eventually becomes a commodity or
8 whether it's really a product. And obviously as
9 you go to, you know, finish grade lithium
10 carbonate or hydroxide, it is a specialty
11 product. But if we can look at this in terms of
12 other products, eventually you have something
13 that's more resilient and ultimately can help
14 weather, you know, cycles of, you know, commodity
15 risk ultimately.

16 So I guess in terms of a technology,
17 maybe put that out there that we shouldn't be
18 siloed because, you know, it's not just lithium
19 that's going to ultimately need to happen to make
20 this whole enterprise kind of hit the vision.

21 COMMISSIONER HOCHSCHILD: I had a
22 question. I'm sort of ignorant but well-meaning
23 on the science of this.

24 What is it exactly that requires \$50
25 million to \$100 million? Why can't a \$10 million

1 pilot work? Can you just help illuminate that a
2 little bit.

3 MR. BESSELING: One thing I always like
4 to correct people, when they call it a pilot
5 plant, it's more of a lab. And so it's not
6 really a working, functioning plant that's
7 actually taking live-stream brine and processing
8 it. So to build a real plant that's actually
9 producing, that's a full-size plant, the full
10 scale commercial plant is in the order of
11 magnitude of \$300 million to \$400 million, so \$60
12 million for one-tenth. So it's just the cost of
13 pots and pans. The cost of that, those columns
14 in that technology, is just, it's what it costs.

15 MR. GENTRY: All right. Thank you.

16 I think we'll move on to question number
17 two now.

18 COMMISSIONER HOCHSCHILD: You had a
19 comment in the back in the white.

20 Sir?

21 MR. GENTRY: Okay. Did you want to make
22 a public --

23 COMMISSIONER HOCHSCHILD: Did you have a
24 question relative to what we're talking about?

25 MR. HARRISON: (Off mike.)

1 (Indiscernible.)

2 COURT REPORTER: You'll need a
3 microphone, sir. I can't pick you up from there.

4 MR. HARRISON: I was formerly with a
5 company called Simbol Materials. We had a pilot
6 planned, both at CalEnergy and at EnergySource's
7 facilities. We've actually run a technology
8 through the brines. We've produced lithium
9 carbonate and lithium hydroxide from the
10 geothermal brine, albeit on a one-thousandth
11 scale, so let's understand what scale we're
12 talking about.

13 The biggest challenge, actually mentioned
14 by Eric, is taking it from this scale and going
15 to the next step. He's right, it's \$60 million
16 to \$100 million to build a one-tenth scale. It's
17 \$300 million or thereabouts to build a fully
18 commercial plant. The tendency is to say we'll
19 skip that step because it's not economically
20 viable to run at one-tenth scale. But that is a
21 trough of technology that is very hard to step
22 over. And that's the barrier here, not the
23 actual technology because I've proven the
24 technology.

25 The company I was with before, the

1 company I'm with now, we'd really love to go that
2 next step. It's hard. It's hard to raise that
3 \$300 million, even with the technology that would
4 be absolutely at the bottom end of the cost of
5 production scale.

6 COMMISSIONER HOCHSCHILD: That's actual
7 very --

8 MR. HARRISON: It's new technology.

9 COMMISSIONER HOCHSCHILD: -- that's very
10 helpful information. I mean, just to -- so I'm
11 understanding what you're saying, you were
12 successful in --

13 MR. HARRISON: Absolutely.

14 COMMISSIONER HOCHSCHILD: -- doing this.
15 It was really a financing challenge to raise the
16 money to get --

17 MR. HARRISON: Yeah. And there were all
18 sorts of management mistakes at certain points.
19 But the reality is the technology exists. The
20 difficulty is raising the money to get to the
21 next step.

22 COMMISSIONER HOCHSCHILD: Can I just ask
23 you and others here one more question, which is
24 let's assume with your technology at it was, you
25 were able to get that money and get to scale, how

1 were you -- what would you estimate the
2 production cost of lithium extraction using that
3 in the Salton Sea versus, you know, the
4 competition in Chile or elsewhere?

5 MR. HARRISON: So --

6 COMMISSIONER HOCHSCHILD: I mean, what's
7 the delta?

8 MR. HARRISON: -- so we would actually be
9 below South America in terms of --

10 COMMISSIONER HOCHSCHILD: You could beat
11 Chile's costs?

12 MR. HARRISON: Yeah. Between --

13 COMMISSIONER HOCHSCHILD: Wow.

14 MR. HARRISON: -- between \$1,500 and
15 \$2,500 per ton, the cost of production, from a
16 single geothermal plant source. So that's a 50
17 megawatt plant producing about 15,000 to 17,000
18 tons of lithium carbonate, which is the main
19 commodity.

20 COMMISSIONER HOCHSCHILD: Okay. That's
21 helpful. Thank you.

22 MR. WEISGALL: And I a related issue,
23 David, and this is less on the technology side
24 than the finance side but it's an important
25 point, we put out an RFP for companies to come

1 on in. Who wants to do minerals extraction? And
2 you would think the big companies would have come
3 in because they can sense what the economics are.
4 And the answer was California is not on the
5 scale. We're not. They're not on the map. It's
6 Chile. It's Argentina. It's Australia. It's
7 China. Where are you California? Someone has to
8 prove up that technology before we're going to
9 come in.

10 So that's where a company like ours,
11 where we -- we're a big company. We could not
12 attract any large lithium company to come in
13 because the technology has to be proven, which is
14 why you can't do it with a \$2 million pilot lab.
15 Someone's got to put the money in to build the
16 demonstration plant that then can be scaled up
17 and --

18 MR. KENNEDY: I'd put it back on you a
19 bit to ask, you know, Berkshire Hathaway has \$1
20 billion. It has a few of those. It looks like a
21 25 percent gross margin opportunity to me. I
22 know there's some risk in it but you guys take
23 billion dollar bets on 25 percent gross margin
24 opportunities all day long at that risk profile
25 and worse.

1 You know, Eric pointed it out, this
2 should be attracting big end-of-town (phonetic)
3 bucks all day long. Why is Warren sitting on his
4 dollars? What have you not done to convince him?

5 MR. BESSELING: I've had to answer this
6 question many times over the last year. And the
7 short answer is that's no longer our expertise.
8 We're no longer in that business as far as being
9 that entrepreneurial spirit to pursue something
10 that's not a big, fat utility or a somewhat
11 straightforward power gen. It really just is no
12 longer our DNA, it's that simple.

13 Our focus, our organization focuses on
14 large-scale acquisitions. We have a lot of money
15 to place. And we're looking for more of a stay
16 in the utility space, it's just that simple. So
17 my mandate has been given from my senior
18 management to go monetize it with someone else's
19 money, so to speak.

20 MR. WEISGALL: Indeed, you saw that
21 revenue stream, \$900 million a year. We were
22 looking at just a modest royalty. Let someone
23 else go make that money. We don't do minerals.
24 And when we tried back in 2001 with zinc, we
25 didn't do very well. As my CEO said, we make

1 electrons. That's what we're good at.

2 MR. BESSELING: The one caveat of what
3 we've been given, as well, to monetize that is
4 bring in somebody that has the wherewithal to be
5 successful. We don't want a failure on our site.

6 So part of the challenge we've had as we
7 go through this, there's tons of people that want
8 to throw ideas at you and want to say give me
9 your brine, we'll play with it. But, no, we want
10 to find the right person that's got the
11 wherewithal and wants to put some skin in the
12 game and some earnest money to prove it up.

13 MS. WALL: And if I can add just one more
14 comment? So coming from the finance community
15 and being kind of an intermediary with
16 investors, it really is this lack of risk.
17 Investors do not want technology risk. We don't
18 like it. These are mining investors who have
19 very old-school technology, a very old school way
20 of looking at these markets. Chemical investors
21 are just as bad. And in that realm, they don't
22 want to touch technology risks.

23 So the more that a technology can be
24 proven and shown to actually produce the lithium
25 carbonate at the quality level that they -- that

1 you're asking for, that is really kind of the
2 crux at which we need to have that, you know,
3 demo in place. That one-tenth scale is critical
4 to show that that's actually a reasonable sized
5 project. And at that point, then the market
6 really opens up in terms of using either, you
7 know, your equity investment, whether it's
8 private equity, or starting to get into true
9 project finance and moving into the debt side of
10 the market, obviously, once you have some work on
11 the ground.

12 I do have to disclose, I am an advisor to
13 MGX Minerals. I have been in this space for
14 years and have looked various technologies. But
15 that is one of the reasons that we're here today
16 is that, you know, MGX and other technology
17 players have really come so close to really
18 getting these technologies. They just haven't
19 moved over. They have pilots in place but it
20 hasn't been done, clearly, on the brine itself.
21 Once that is done, then that opportunity is
22 really available.

23 COMMISSIONER HOCHSCHILD: One more -- so
24 the gentleman from Simbol Materials, what's your
25 name?

1 MR. HARRISON: Steven Harrison.

2 COMMISSIONER HOCHSCHILD: Steve, why
3 don't you come up and join? Take that card down.
4 Actually, you should be at the table for this.

5 One question for you, Steve, of just -- I
6 mean, she mentioned the quality of the lithium.
7 Could you just speak to that? Were there any
8 issues with what you were able to produce there
9 on a pilot scale about the purity that were --
10 was it potentially a problem?

11 MR. HARRISON: With the right chemistry,
12 no, it's not a problem. It is a challenging
13 thing to make and it will be a challenging thing
14 on a commercial scale to maintain purity. But
15 the chemical steps are well known for the most
16 part and are achievable from the geothermal side.

17 COMMISSIONER HOCHSCHILD: Okay. That's
18 helpful. Thank you.

19 MR. GENTRY: All right.

20 MR. KENNEDY: I think I'm getting to your
21 second question, I'm sorry if I'm jumping around,
22 but we're talking about the economics and does it
23 make sense.

24 MR. GENTRY: Yeah. I think we've already
25 gotten -- started going into this next question.

1 MR. KENNEDY: Well, now I've actually got
2 one for you, given that you know the world
3 market.

4 I saw recent media, and that's in
5 Australia where you were recently, probably
6 because of your visit, \$200 million of bank debt
7 was unloaded on half a dozen or five Western
8 Australian mining companies to scale their
9 lithium production. Is that because that's known
10 technology? I mean, a bank at that scale, you're
11 looking for \$100 million to build a whole new
12 industry in California where risk capital is
13 plenty and abundant. Why is it that they can do
14 it in W.A. and not here?

15 MR. GOLDIE-SCOT: I think it would depend
16 on the project, rather than just see
17 (indiscernible). You know, it would depend on
18 the stage of development and, basically, how
19 proven the technique and how proven the site is.
20 But I think, naturally, the state, the broader
21 environment is helpful there in terms of sort of
22 a do they believe that support? Do they believe
23 there will be demand for that product over the
24 coming years? So it's just another way of how
25 they think, how those lenders think about risk

1 and allocating risk amongst the companies.

2 MR. HARRISON: May I?

3 COMMISSIONER HOCHSCHILD: Yeah. Go
4 ahead.

5 MR. HARRISON: That technology is --

6 COURT REPORTER: A little closer to the
7 mike please.

8 MR. HARRISON: That technology is 40, 50
9 years old. Technology to extract from geothermal
10 brine is ten years old, maybe a little older.
11 That's the challenge, not the technology itself.
12 It's the fact that it's a little -- a lot more
13 risky to take a new technology and scale that up
14 than it is to take an old technology and apply it
15 in a new place.

16 MR. GENTRY: All right. Thanks. Okay.
17 I think we've covered question two already.

18 So in the interest of time, we'll move on
19 to question three, if that's okay with you,
20 Commissioner?

21 COMMISSIONER HOCHSCHILD: Yes.

22 MR. GENTRY: All right. So question
23 three is: What are the physical and economic
24 challenges in bringing California-sourced lithium
25 through the processing stage and ultimately to

1 end users?

2 And anybody who would like to jump in,
3 feel free.

4 MR. GOLDIE-SCOT: Maybe I'll kick off
5 that. And I think the key thing to consider is,
6 is it's not just around like the final end
7 product in terms of sort of a vehicle here. I
8 think there probably needs to be more of a
9 discussion around this table around, so, where
10 are the batteries that are being sort of put in
11 today's electric vehicles instead of being
12 manufactured sort of closer to home? Where are
13 those batteries being made, sort of the cells
14 being made? And what are the components that are
15 going into that being made, as well?

16 I think it's all well and good to -- and
17 ultimately that big end source of demand is
18 really helpful, but there are a few steps in
19 between sort of the lithium and the car that
20 you'd want to consider as part of any sort of
21 pipeline and part of any plan.

22 COMMISSIONER HOCHSCHILD: Yeah. One
23 thought, this is just brainstorming here and I'm
24 kind of leaping to the second part of the
25 discussion a bit, but in terms of what might

1 incent the necessary investment to get several
2 hundred million dollars at the table. Every one
3 of these 12 EV manufacturers in California has
4 received state money in some form. We've granted
5 to most of them. They get, obviously, the
6 benefit of the customer rebates, et cetera.

7 And I'm just wondering if there, you
8 know, would it make sense to try to assemble some
9 commitment of these manufacturers if certain
10 price points and quality metrics are met to
11 procure from a facility, right, so that you could
12 actually deliver a customer list, you know, that,
13 you know, might give assurance too?

14 And I'm just thinking out loud here. I'm
15 curious if folks have thoughts on that or maybe
16 that's another approach?

17 MR. GOLDIE-SCOT: Well, I think other
18 places are certainly trying. There are different
19 ways that you could sort of encourage that
20 commitment.

21 In Europe, for instance, we had someone
22 from the European Commission speaking around
23 their -- and a European investment bank speaking
24 around their support for Northvolt, sort of a
25 European battery manufacturer. One of the ways

1 in which they would -- were trying to create the
2 conditions for that to succeed will be around
3 lifecycle emissions and actually applying that
4 across vehicles sold or across batteries used in
5 vehicles sold in those countries.

6 And so I think that a really interesting
7 approach because -- and it's something you're
8 seeing elsewhere in terms of not necessarily
9 local content requirements but what is unique
10 around specific sort of facilities and
11 characteristics and how do you encourage or
12 mandate organizations to pay attention to that?

13 MR. BESSELING: If I can just comment on
14 that? My past experience this past year on that,
15 I think it wouldn't so much influence the
16 investors, I don't think, because again, it's
17 that technology, not that they're really
18 concerned about

19 But I think you might change the dynamic
20 of the larger-scale producers that say, oh,
21 you're actually earmarking this market to source
22 its lithium from North American-based, not from
23 Chile where they're currently operating, to make
24 them take a second look at developing some
25 resources locally. I think that's -- because

1 I've reached out and have had long-drawn
2 discussions with some of the major players and
3 the conversation goes a little bit more of just
4 curiosity. But when you get to the real kind of
5 proceeding to do something with it, they all kind
6 of shy away. And I really think they have enough
7 resources that they have enough to work with in
8 Chile and they have their own economics working
9 for them, so they really don't have an incentive
10 to branch out and take risk in other regions.
11 They've got enough to play with.

12 So something like that which is going to
13 almost create a demand locally and forcing it to
14 stay locally to some degree might change their
15 way of looking at that.

16 MR. WEISGALL: And I would add to that
17 that there is a national aspect to this and this
18 is something where I think, Josh, I understand
19 your point about DOE funding now. I think one
20 can make a very good argument to Secretary Perry
21 and this administration when you think about
22 their priorities that having a domestic supply of
23 something this important going forward is very
24 much in the U.S. national interest.

25 So in terms of assembling, Commissioner,

1 funding, because this is, look, this is right in
2 the wheelhouse of what government does, is
3 provide some of that funding to make something
4 commercial, I could see a role for the state.
5 But I can make a very argument to at the federal
6 level, as well, for that very reason. I mean,
7 it's an essential commodity going forward.

8 MR. HARRISON: There is a lot of
9 advantages to having production in the U.S.

10 COURT REPORTER: A little closer to the
11 mike please.

12 MR. HARRISON: Certainly. There's a lot
13 of advantages to have production in the U.S.
14 Security of supply is important. Even to
15 companies in Japan in Korea, the U.S. is a much
16 more stable area than Chile and Argentina in
17 terms of supplying lithium.

18 So there is a reasonable argument for
19 saying we have a huge advantage here. We have a
20 great resource, it's just not been tapped.

21 MR. BOWLES: The advantage I want to ask
22 about is the point that you made, Eric, in the
23 middle of the end of your presentation about the
24 purity of the lithium and whether the end user
25 and the customer that has the electric vehicle or

1 the storage battery, whether there is a market
2 demand to having pure lithium in its, you know,
3 best form for the longer charge, everything like
4 that, for kind of what you said is here.

5 MR. GENTRY: Go ahead.

6 MR. HARRISON: I can answer the question.
7 Before being with Simbol, I actually worked for a
8 company in Canada that made very, very high
9 purity lithium carbonate. The quality grade is
10 99.5 to 99.9. This was five-ninths (phonetic)
11 pure. That is a very niche market for that
12 product. But the people who make the cathodes,
13 which is where most of the lithium goes, they're
14 not that interested in anything beyond the 99.5
15 to 99.9. The reason for that is the purity of
16 the cobalt, the nickel. They'll reach those
17 levels of purity, so they can't really use the
18 advantage. And to make those other materials
19 very pure is not technically impossible but is
20 very expensive.

21 MR. GENTRY: Go ahead David.

22 MR. GINLEY: So maybe two quick comments.

23 One, 40 years of experience in
24 photovoltaics has taught me that people are
25 totally agnostic to the technology. All they

1 care about is how expensive the electrons are;
2 right? It sits on their roof. They don't even
3 know what's up there.

4 And in a way, lithium batteries are the
5 same now; right? You don't know who makes it.
6 You don't know what their performance level is.
7 All you care about is the cost per range; right?

8 And so I think I can see lithium
9 batteries evolving the same way. And that's why
10 it's really hard to convince vehicle
11 manufacturers to sign up for a contract because
12 two years later the battery might be appreciably
13 cheaper from their viewpoint. And as long as the
14 form factor is the same it doesn't matter.

15 But what has seemed to work for getting
16 technologies like this over sort of the valley of
17 death, which is kind of what we're talking about,
18 has been the development of the right kind of
19 consortium that brings together the right kind of
20 expertise. And I think one of the problems here
21 is that lithium extraction and processing
22 involves mining geothermal, chemical and
23 petroleum engineering kind of people, geophysics,
24 the whole gamut that isn't normally together.
25 And so you might succeed very well on the

1 separation technology but not get the other parts
2 right.

3 And so somehow to integrate that, I can
4 see why that's very difficult for somebody like
5 Berkshire to do; right? So maybe there's an
6 opportunity for California to put a team together
7 that actually looks at this with the right
8 constituents.

9 MR. WEISGALL: And BHG would welcome that
10 kind of consortium, no question. I mean, we
11 don't have that expertise. What do we have?
12 We've got the resource. Danny, you're right, we
13 have the resources, certainly financial. We
14 don't have the technology. And we do have the
15 time because we do have a very patient, you know,
16 CEO. This is not a two-year -- this is not a one-
17 year process or two year. This is -- we're
18 talking about a five-year process. You know, we
19 can do that.

20 And that's what I want to see come out of
21 today, actually, is sort of moving forward to we
22 will need some sort of consortium. And it's not
23 just us. There are other companies in Imperial,
24 as well.

25 MS. WALL: Well, I have one more

1 question, actually, for Logan.

2 So I know that NREL had put out a study a
3 couple years ago on actually the supply chain
4 story within battery manufacturing. And your
5 slide in particular to the different chemistries
6 of batteries, to me, struck a chord because to me
7 that indicates that no matter where your supply
8 is, you still have to potentially ship this
9 elsewhere to wherever the cell manufacturing site
10 is to have this and put into a cell that is then
11 shipped back to wherever you're putting your car
12 into place.

13 So, to me, it seems like there might be a
14 story here in which it's encouraging integrated
15 manufacturing process that can do this within
16 here, in California. I don't happen to know what
17 these vehicle manufacturers are doing or what
18 that looks like since that 2015 report. But it
19 also kind of, to me, it indicates, because these
20 chemistries are different, there's also a huge
21 risk in putting up the investment money to build
22 a plant that integrates things if chemistries in
23 the cars of the future are going to change.

24 So I'd really like your comments and
25 thoughts on that.

1 MR. GOLDIE-SCOT: Sure. Thank you. And
2 I think that speaks to the point earlier on
3 needing to understand sort of those steps between
4 sort of the raw material and the vehicle. And at
5 that moment, you're completely right, lithium
6 travels a long way around the world, potentially
7 a few times before -- well, from where it's
8 initially sort of found to where it's ultimately
9 used.

10 You do have -- Tesla has been very, very
11 cool on its desire for more integrated
12 operations, everything from it as sort of an
13 early resource, actually all the way through to
14 recycling and sort of processing that back in. So
15 I think companies are certainly thinking about
16 this.

17 At the moment, you also see in Chile, for
18 instance, the Chilean government is trying to
19 encourage more sort of cathode production, so
20 sort of bringing not just any raw materials in
21 Chile but trying to bring in that sort of
22 component step. And it's the same conversation
23 in Western Australia. And so you have everyone
24 from either -- you have encroachment from either
25 side towards sort of greater integration.

1 And ultimately, we think there is a
2 strong use case for manufacturing facilities near
3 the ultimate source of demand. You see this in
4 general with automotive, for instance. You see
5 it with cell manufacturing now where, as I
6 mentioned in my talk, Chinese and Korean
7 manufacturers are setting up shop in Germany and
8 Poland and Hungary to do that, and that's at the
9 cell level. So ultimately, if there's a resource
10 availability, you'd see greater integration.

11 But I think, yeah, understanding that
12 full integration is going to be absolutely key to
13 ultimate success here.

14 MR. BESSELING: Just to temper that a
15 little bit, though, as far as really just talking
16 about shipping costs basically, and this is no
17 quality issues, but we're really talking about,
18 for a Tesla battery, about 1,000 kilogram
19 battery, it's only 63 grams of lithium. So it's
20 not a huge component on a weight shipping basis.
21 So I don't think -- there's sort of some benefit
22 to that. I don't think it's huge.

23 MR. WEISGALL: I was going to make a
24 similar point by contrasting to wind where 20
25 percent of the cost of a wind turbine is

1 transportation. So you see a company like Vestas
2 building a factory in Iowa because there's so
3 much wind being deployed in Iowa. It's, really,
4 it's the weight and the transportation.

5 So I just would sound a cautionary note
6 there. It would be marvelous to see that. It
7 would be great for Imperial County. But I think,
8 really, the bottom line is what's the weight and
9 what's the transportation cost? Probably not as
10 attractive as we might think.

11 MR. KENNEDY: I'm catching up here. What
12 Logan said earlier is the way the Europeans got
13 around this is saying the lifecycle emissions of
14 the car, which when you go back to how much the
15 lithium has been run around the world, leads to
16 an incentive to put the lithium cell production
17 closer to the car supply chain; is that correct?
18 It's a trick to get around local car tables.

19 MR. GOLDIE-SCOT: So I won't comment on
20 that but it's -- I'd also say this is sort of
21 under discussion. It's not something that's
22 being put in place but I think you will see
23 more -- or is increasingly coming up in
24 conversations. The lifecycle emissions, yeah,
25 from the raw material all the way through to

1 recycling or second life is going to be a
2 criterion.

3 MR. GENTRY: Okay. I think we already
4 got into question four, but I'll read over that
5 and see if there's any more comments on that.

6 Is there an opportunity to localize
7 processing treatment and end users -- end uses?

8 Does anyone else have anything else to
9 say on that? We kind of touched on that.

10 MR. HARRISON: I think getting the
11 lithium and probably the manganese, as well, from
12 the brine would be a motive to make that happen.
13 Rather than put something in there to help drive
14 the lithium being produced, you can get the
15 lithium and the manganese from the brine which
16 are elements of the battery and the chemistry
17 anyway, it will drive the cells to be produced
18 more locally rather than the other way around.

19 MR. GENTRY: Okay. Let's -- did somebody
20 else have something to say? Okay.

21 Let's move on to question five. What are
22 the negative and positive impacts associated with
23 lithium recovery from geothermal brine and
24 related activities that should be considered?

25 Anybody, feel free to jump in.

1 COMMISSIONER HOCHSCHILD: Can I just ask
2 a basic question? And maybe, Steven, this is for
3 you or anyone else who's done this. But just can
4 you walk us through the actual process of lithium
5 recovery from brine? What is involved? What
6 materials? How much -- how energy intensive is
7 it? You know, how long does it take?

8 MR. HARRISON: Okay. There's some
9 reservations about certain secrets but, yes.

10 The thing that's --

11 COURT REPORTER: I'm sorry. Please speak
12 closer to the mike.

13 MR. HARRISON: Yeah. Sure. The thing
14 that's most challenging about the geothermal
15 brine is actually the presence of silica in it
16 which will affect to a greater or lesser extent
17 depending on the technology, how easy it is to
18 remove lithium. That was a technology we
19 developed and proved. Getting the lithium out of
20 the brine after that, the technology that we use
21 and other people know about is such that it's
22 just perfect for this brine. It wants to be used
23 at a high temperature at high salinity and it
24 forces the lithium into the --

25 COMMISSIONER HOCHSCHILD: What is the

1 optimal temperature at which it works?

2 MR. HARRISON: Ninety-five degrees is the
3 answer. That's where we operated, and that's in
4 Celsius and not Fahrenheit. So about 200
5 degrees. Brine comes from the geothermal plant
6 at 220. The silica management processes bring it
7 down 22 degrees, so it's a pretty optimal place
8 to be.

9 The beauty of the technology is to get
10 the lithium from (indiscernible) we use to
11 extract the lithium, all you need is water. So
12 there's a need for water. Imperial Valley is
13 actually quite well served. Even though it's in
14 the middle of the desert, it gets a lot of water
15 from the Colorado River via irrigation. Thank
16 you. And from there, it's actually very
17 traditional chemistry to take the lithium,
18 concentrate it, take out the impurities which
19 aren't that great, to get it to a battery-grade
20 level.

21 We had a special technology that we
22 developed which is a lot like making caustic soda
23 and chlorine, and we used that technology. But
24 there are others to do the conversion to
25 carbonate. We wanted to make lithium hydroxide

1 preferentially because that market is growing
2 more than any of the others at the moment. It's
3 very, very basic processing chemistries that are
4 used elsewhere. It does use a fair amount of
5 energy. Making lithium carbonate, that way
6 actually sucks CO2 out of the atmosphere because
7 when you make lithium hydroxide, you make lithium
8 carbonate. So you end up being CO2 neutral as a
9 process.

10 MR. GENTRY: Okay. Thank you.

11 Does anyone have any -- anyone else on
12 the panel have any comments for this? Okay.

13 Go ahead, David.

14 MR. GINLEY: I have just a question out
15 of ignorance.

16 So as you extract lithium and minerals
17 and then recycle the water, are there any long-
18 term geologic or geophysical implications to
19 that?

20 I know that people have looked, for
21 example, when you talked about CO2 sequestration,
22 that there are some mineral consequences in some
23 environments. I don't know the geothermal
24 environment, the down-hole environment well
25 enough to know that if you keep extracting

1 lithium, do you change equilibria that actually
2 create problems down the line or does it actually
3 get better? I don't know.

4 MR. BESSELING: Yeah. We've done some
5 really high-level reservoir analysis on that.
6 And based on the volume and the size of the
7 reservoir, a really simple analysis. We look at
8 the worst case scenario is one percent
9 degradation per year is the worst case scenario.
10 We don't expect it to be nearly that bad but that
11 was the worst case for a conservative estimate.

12 MR. HARRISON: Eric, that's one percent
13 degradation of the lithium content, isn't it?

14 MR. BESSELING: Correct, of the
15 concentration, so 220,000 parts per million.

16 MR. HARRISON: Okay. So that's 250 parts
17 per million in 38 percent of salts. It's
18 minimal.

19 MR. BESSELING: It is minuscule. Yeah.

20 MS. WALL: And just from just a
21 geothermal perspective, the only thing that I've
22 heard --

23 COURT REPORTER: Go closer to the mike
24 please.

25 MS. WALL: I'm very good at being too far

1 away.

2 The only thing that I've heard that might
3 potentially be an issue is temperature change.
4 So the more that the fluid itself is dropped in
5 temperature to increase extraction efficiency,
6 again, this is a hypothetical, there's a
7 potential that the return brine might, at a lower
8 temperature, might affect temperature recharge.
9 But that, again, that would have to be
10 significant, you know, temperature drops to
11 affect the resource in the long term. And I'm
12 sure BHE has some very good numbers to --

13 MR. BESSELING: Yeah. (Indiscernible)
14 look at that closely and there's no real concern
15 there. There's no -- there's not much
16 communication between our injection wells and our
17 withdrawal wells. There's lots of time for that
18 to regenerate the heat before it gets back to
19 withdrawal, so we're not concerned whatsoever
20 with that.

21 COMMISSIONER HOCHSCHILD: And then just
22 one more question for Eric or Logan maybe. Just
23 I'm assuming, and please correct me if I'm wrong,
24 that these other areas of the world where we're
25 recovering lithium are from mining, not brine?

1 Because I mean, that process is similar to copper
2 of molybdenum or are you just -- are you going
3 after a C (phonetic)? I don't even know. Is it
4 in terms of the formation that's in --

5 MR. BESSELING: I'm not a real expert on
6 this but I understand it's recovered from the
7 spodumene. It's a hard rock form. Basically, a
8 lot of it is crushed in Australia and brought to
9 China in rock form, so there's a lot of waste of
10 freight, of moving all the rock to China and then
11 taking two percent of it and discarding all that
12 rock.

13 COMMISSIONER HOCHSCHILD: They're
14 literally shipping the rock, the spodumene?

15 MR. HARRISON: Not exactly. In
16 Australia, they take something that's one percent
17 lithium and take it to about six percent lithium,
18 and then they're shipping that to China. But
19 hard rock mining is very -- a lot less friendly
20 to mining lithium from geothermal brine to the
21 environment than even taking the brine lithium
22 from salt mines.

23 COMMISSIONER HOCHSCHILD: So I mean, just
24 what I'm hearing, this is just a point to note
25 here, it does seem pretty clear that this the

1 most environmentally benign way to recover
2 lithium.

3 MR. BESSELING: Especially when you
4 factor in the actual power need, which is not
5 small. For this process that Steven was speaking
6 of, I've been given estimates for our 90,000
7 metric tons, it would take in order of magnitude
8 of 100 megawatts, one-third of the power gen, to
9 support the extraction of the lithium, but it's
10 all green energy, as well. So, yeah, if you use
11 inside-the-fence power gen from the geothermal,
12 you've got a very green source of lithium for
13 sure.

14 MR. HARRISON: I agree with you, I
15 submit.

16 MR. KENNEDY: And just so I'm clear, with
17 continental brines, the Chilean, et cetera, the
18 footprint here is like one-one-thousandth or
19 better ratio; right? Your land use requirement
20 is much less?

21 MR. HARRISON: It's about the same size
22 as a geothermal power plant, which isn't very
23 big.

24 MR. BESSELING: For our sites, yeah, for
25 the lithium extraction, about the same. I've

1 been given estimates, people have said we've
2 earmarked land, site access of land use, for
3 about 40 acres per site. Our sites for similar
4 of one-size plants is about 20 acres, so it's
5 almost twice as much. But it's still a
6 relatively small footprint.

7 MR. KENNEDY: Whereas, the evaporation
8 ponds in South America are thousands of acres.

9 MR. BESSELING: I don't have the numbers
10 for that and I wouldn't, couldn't comment.

11 MR. HARRISON: About 20 for fields --

12 MR. BESSELING: Okay.

13 MR. HARRISON: -- roughly.

14 MS. WALL: It's approximately 23,000
15 acres for a single evaporation pond.

16 COURT REPORTER: I'm sorry. The mike?

17 MS. WALL: I'm sorry. I'll try to get
18 better.

19 It's about approximately 23,000 acres for
20 a single evaporation pond for typical lithium
21 process. And generally, you might have multiple
22 ponds on a given land.

23 MR. GENTRY: Okay. Commissioner, it's
24 now three o'clock. Would you like to move to
25 public comments?

1 COMMISSIONER HOCHSCHILD: Yeah. Let's go
2 ahead and take public comment, if there's anyone
3 in the room who'd like to --

4 MS. BARKALOW: Hello. If anybody has
5 public comments, you can fill out a blue card and
6 I will come over and bring the mike to you. And
7 we can also check to see if there's any questions
8 on WebEx. No.

9 COMMISSIONER HOCHSCHILD: There was
10 someone, I believe, from Tesla that was going to
11 be on the phone. I'm not sure if they're with
12 us, if they'd like to speak to this.

13 MS. BARKALOW: We could check to see if
14 there's anyone on the phone lines.

15 COMMISSIONER HOCHSCHILD: Yeah. I was
16 told someone from Tesla would be --

17 MS. BARKALOW: Okay.

18 COMMISSIONER HOCHSCHILD: -- calling in
19 but I'm not --

20 MS. BARKALOW: So we will --

21 COMMISSIONER HOCHSCHILD: -- sure if that
22 is --

23 MS. BARKALOW: -- open up the phone
24 lines. For those of you that are listening in,
25 please mute yourselves unless you have a question

1 you would like to ask. Thank you.

2 MR. AMINZADEH: I would like to comment.

3 Can you hear me?

4 COMMISSIONER HOCHSCHILD: Yes, we can
5 hear you. Go ahead. Can you introduce yourself
6 first please?

7 MR. AMINZADEH: Pardon? This is Fred
8 Aminzadeh from University of Southern California.
9 And an earlier question was about how different
10 techniques can see very subtle changes in the
11 lithium production. And (indiscernible) the
12 changes are so subtle that a known single
13 technique can be used to see these changes.
14 However, somehow you can use different
15 measurements, such as geochemical, geomechanical
16 and geophysical. Then a combination of those
17 things potentially can see some subtle changes
18 before and after lithium production.

19 So that's one thing I was trying to
20 comment on, that we need integration of different
21 materials to observe these changes.

22 MS. BARKALOW: Thank you, sir, for your
23 comment. Would you please repeat your name and
24 organization?

25 MR. AMINZADEH: This is Fred Aminzadeh.

1 And I am from University of Southern California
2 Center for Geothermal Studies.

3 COMMISSIONER HOCHSCHILD: Great.

4 MS. BARKALOW: Thank you.

5 COMMISSIONER HOCHSCHILD: Thank you for
6 joining.

7 Any other questions or comments from
8 folks on the phone or in the room?

9 MR. RIDER: Yeah. I had a question.

10 COMMISSIONER HOCHSCHILD: Yeah. Go
11 ahead.

12 MR. RIDER: Yeah. Ken Rider, Chief Staff
13 to Commissioner Hochschild.

14 A question, because in your presentation
15 you had, you know, the possibility of expanding
16 geothermal energy production and making it
17 competitive using, potentially, the kind of
18 marriage of the extraction. At the same time,
19 I'm kind of hearing that we're already producing
20 -- like the brine that is already being extracted
21 is quite a fair amount of lithium potential
22 already.

23 So can you describe the opportunity a
24 little more? Because if like we're already
25 extracting a lot, you know, when would it be or

1 how would it be that it would unfold the -- can
2 you expand on the expansion prospects for
3 additional generation?

4 MR. BESSELING: Yeah. So let me just
5 revisit the numbers that I presented earlier.

6 The -- so right now we currently produce
7 350, roughly, megawatts per hour. With that
8 production of brine, we move roughly 50-odd-
9 thousand gallons per minute of brine with the
10 300 -- 250 parts per million of lithium. So that
11 could produce 90,000 metric tons per year.
12 That's a good chunk of lithium in the world
13 market. But we could expand to where we have a
14 bunch of resources that we're not using today
15 that could generate another 700 megawatts if the
16 economics provided for that. That's the extra
17 200,000 metric tons of lithium production. So in
18 total, our current resources that BHE controls,
19 we have the capability of going as high as
20 300,000 metric tons. Our existing operations
21 could only do 90.

22 And where I'm looking for that additional
23 200 megawatts -- sorry, 200,000 metric tons of
24 lithium production for the future, I'm hoping
25 that will support the marriage of power gen to

1 bring the economics down overall.

2 MR. WEISGALL: And again, just to clarify
3 the market, today the world market is about
4 300,000 metric tons. We can produce today 90,000
5 metric tons. So we can supply fully just about
6 one-third of the world demand. If we were to
7 ramp up we could actually get to 100 percent of
8 the world demand but, of course, that's going to
9 grow. But it's a pretty big number.

10 MR. BESSELING: I should also just
11 clarify so it doesn't get lost, that's why
12 CalEnergy's resource, I'd say that they're in the
13 order of magnitude of double that for the entire
14 region. So there's what, 600,000 metric tons of
15 total lithium production which is almost the
16 entire growth from 2025 to 2030.

17 MR. SOKOL: This is Mike Sokol with the
18 Energy Commission.

19 So sort of just trying to connect some of
20 the dots here on what we've heard, that
21 there's -- the technology risk is one of the big
22 inhibiting factors from the investment funding
23 coming in. And I'm wondering if, kind of taking
24 that a step further and defining what is the sort
25 of successful demonstration project look like?

1 We heard technology readiness levels referenced
2 but is there a specific threshold that when we
3 cross that threshold, then that's when the
4 investment money will comment in?

5 MS. WALL: If I can answer that?

6 In the sense of what we look at for
7 project financial, for readiness for taking a
8 deal to market, is the terminology that's used in
9 investment banking, is really having a plant that
10 has been a one-to-ten scale or at least a
11 sufficient scale that is on the ground using the
12 exact brine or same type of supply chemistry or
13 similar enough to the site that you're trying to
14 extract from. Obviously, the closer the better.
15 The closest that it's onsite the better the
16 likelihood your deal is going to go through.

17 Once that is on the ground and shows
18 data, so it can't just be in the process of being
19 constructed or have its permits in the way of
20 going, it needs to actually be running and show
21 real data, and once that brine is actually -- or
22 the plant is showing that there is actual lithium
23 carbonate coming out, then that is really where
24 you would have to say that's a proven technology.

25 Now, obviously, you have pilot scales

1 which can be used, you know, and tested. But to
2 say that that's a commercial-scale demonstration
3 is really that goal of seeing the product.

4 MR. KENNEDY: But how long do you need
5 that to be backed?

6 MS. WALL: Well, I mean, I would have to
7 say it depends upon the specific investor, and
8 also the user at the other end. So part of the
9 project finance package or the investor package
10 is having -- it's not just having the plant
11 itself, it's also saying do you have a supply
12 agreement? Have you talked to customers? What
13 do they need? What is the -- you know, and so
14 really matching their needs in terms of that
15 timeframe. And the quality is a factor, as well.

16 So I can't technically put a number on
17 that but certainly it's having that conversation
18 with your end user and at least having some type
19 of agreement that is a possibility to have a
20 (indiscernible) makes a difference.

21 MR. HARRISON: I'd like to add a little
22 bit to that.

23 I think it takes six to nine months of
24 actual operation of a plant. Because you not
25 only have to do -- produce the lithium carbonate,

1 you have to actually go and qualify. And it
2 takes two years, maybe not quite that long in
3 China, but certainly in Japan and Korea it takes
4 up to 18 months to qualify. If you produce from
5 your demonstration plant, you're cutting that
6 down enormously. You still will have another
7 qualification period but it's a lot shorter
8 because you're using exactly the same technology.

9 MR. WEISGALL: And building on your very
10 good point about having the customers and the
11 supply -- and the contracts with customers, I
12 think it's safe to say that Tesla currently uses
13 at least 35,000 tons per year of lithium. So
14 again, compare, you know, with the 90,000 that's
15 there at least, there's one built-in customer
16 right there which has expressed interest in this.

17 MR. BESSELING: Yeah. Our experience
18 this past year going through this RFP process,
19 we've heard from a lot of end users. And there's
20 more than abundance of interest there that are
21 talking three- to five-year long-term contracts.
22 In the commodity business, that's long.

23 So there's a real interest in North
24 American-based brine. So I don't think that the
25 market size is really a concern. I really think

1 they'll -- you build it, they will definitely
2 come. I'm convinced of it from what I've -- just
3 the conversations I've had this past year. But
4 it's just you still take that -- it's really more
5 the technologies. You do have -- any of these
6 battery purchasers, the end users, like Steven
7 just mentioned, they do take a substantial amount
8 of time to qualify that lithium for their
9 battery. They're very sensitive and very, very
10 particular about the lithium they design around,
11 if you will, so they got to give them time.

12 And it takes us a couple of years to
13 build a demonstration plant. This is not
14 something that -- at least this is what they're
15 telling me. Others may say shorter, but the
16 estimates, the ballpark estimates I'm getting and
17 receiving is two years to build a demonstration
18 plant, so there's time just to build it.

19 MR. HARRISON: It's not different to a
20 commercial plant, just a smaller scale.

21 MR. BOWLES: So it sounds like a cat and
22 dog relationship with the utility itself and then
23 the lab, as you described, was Simbol in the
24 past.

25 I know that you had mentioned the entity

1 to the far north on that map that was in that
2 little red square. I just curious, have there
3 been any entities who have married these two
4 processes together and have they been successful
5 in, you know, the Aussie firm that was described
6 in doing that already?

7 MR. HARRISON: I'm not sure I'm catching
8 your question. The Simbol technology was
9 demonstrated, again, one-one-thousandth scale at
10 both CalEnergy's and EnergySource's site on real
11 brine running continuously 24/7 for, I think,
12 over three years of actual operation, not
13 absolutely everything but over three years of
14 operation.

15 MR. KENNEDY: Can I just sort of ask a
16 question? And I'm going to ask Steven not to
17 answer because I think he's got an opinion,
18 having gone through this.

19 Is one demo plant going to crack the nut?
20 I mean, maybe this is really for David. It's
21 like, you know -- or Susanna. You're saying with
22 one demo plant at \$100 million, one-tenth the
23 scale, we'd run that for six to nine months, we'd
24 prove it out and we answer the remaining
25 technical questions about this particular kind of

1 brine at these temperatures. But do we still
2 need to run ten parallel science experiments for
3 two years to get to that solution?

4 MR. GINLEY: So there's two answers to
5 your question.

6 As long as the chemistries are fairly
7 similar, one plant is probably all you need.
8 And, in fact, if you look at the Cad telluride
9 solar cell example and what Versolar (phonetic)
10 did, right, they made their first plant and then
11 they cloned the bugger again and again without
12 changing anything, and I think that works. If
13 the chemistries are vastly different and what you
14 pick as your separation technology doesn't work
15 for that alternate chemistry, you're going to
16 need a pilot plant for each chemistry.

17 And so part of this may be that you want
18 to create, and I was going to make this comment
19 earlier, you need to create a model for the
20 separate technology and computational modeling
21 for these things is so much better now than it
22 used to be, that actually will allow you to
23 adjust. And if those models are robust enough
24 you may not have to build multiple pilot plants.
25 You may just be able to clone them.

1 MS. VENTURA: I think, you know, it's
2 very important to know what is the composition of
3 the brine. And depending upon the composition of
4 the brine the pretreatment will change. So you
5 are dealing with an oilfield brine, obviously,
6 you're going to have to remove the organics.
7 You're dealing with a geothermal brine, you're
8 going to have to remove the silica. So it
9 depends a lot on, you know, the composition of a
10 brine, pretreatment will change. And then your
11 knowledge about your absorbent, what works and
12 what doesn't work?

13 So I -- so conditions are just slightly
14 changed but I don't anticipate major problems
15 going from one system to the other, except the
16 (indiscernible) brine at the high temperature,
17 actually. That's the feature, the unique
18 feature, the high temperature and corrosion of
19 the typical geothermal fluid.

20 MR. BESSELING: On that, just a further
21 question, would you expect a variation just
22 across the field of the Salton Sea or would you
23 consider all of the Salton Sea somewhat uniform
24 enough to do one?

25 MR. HARRISON: I think it's probably

1 uniform enough.

2 MR. BESSELING: That's what I would have
3 thought too.

4 So to answer your question, as far as
5 we're talking about the opportunity in the Salton
6 Sea, one demonstration plant should do it, I
7 would suggest.

8 MR. HARRISON: I think the comment that
9 was made earlier is important, though. If the
10 chemistry, the extraction chemistry was very,
11 very different --

12 MR. BESSELING: Fair point.

13 MR. HARRISON: -- then you might need --

14 MR. BESSELING: Definitely.

15 MR. HARRISON: -- to change that unit
16 out. But most of the rest of the chemistry is
17 still going to stay the same, so it would need
18 one with maybe interchangeable parts.

19 MR. BESSELING: It would, to the extent
20 that you're planning different technologies, then
21 I've got to believe that you'd have different
22 demonstration plants for the different
23 technologies. But I'm saying if you are zeroed
24 in on one technology, you should be able to apply
25 that one.

1 And also from what I've heard with -- am
2 I okay speaking? Okay.

3 The other thing that I've heard from,
4 again, the developers that did pursue this to a
5 certain level, it really comes down to a
6 financing and a confidence level, to the extent
7 the financiers are saying you process hot brine
8 for six months, that's enough evidence that this
9 is going to be successful, you work out the rest
10 of the bugs when you go the commercial plant. So
11 it really gets into a confidence level. And I'm
12 hearing over and over again, one plant will
13 satisfy that need.

14 MS. WALL: And I'd just like to comment
15 that it's really important to note here that
16 there's no one specific technology that works.
17 And so there are multiple technologies out there
18 that are, honestly, near commercial. And that's
19 just from my knowledge of the market is, you
20 know, I'm not talking to MGX specifically, but
21 given their state of -- you know, their pilot in
22 produced water and having that successful for
23 lithium recovery, there are other technologies
24 that have other options than just sorbents.

25 So to the degree that Salton Sea

1 Authority or the Energy Commission is interested
2 in piloting different technologies and really
3 finding winners, I don't think this is
4 necessarily a one solution fits everything.
5 There's potentially multiple different
6 technologies that can, you know, work here. And
7 it's finding, I think the most important part,
8 the lowest cost solution that will fit for the
9 longest term. Because if you're putting on this
10 amount of supply online, that is going to create
11 the supply demand, you know, price feedback in
12 the market. And the only projects that are going
13 to survive long term are the ones that are lowest
14 cost.

15 These supplies are going to come online
16 and basically push out all of that hard rock
17 supply that's online now at \$5,000-plus per ton.
18 And if you're not below those costs and you
19 can -- to operate long term, you might as well
20 not have bothered putting your money up in the
21 first place. It's just not competitive to stay
22 in business.

23 So I think it's really important that, if
24 you have the opportunity to do this and do this
25 and check the different technologies and find

1 your lowest cost provider, that will provide you
2 kind of security in the market long term.

3 MS. DE JONG: We've reached the point on
4 the agenda for a break, if it's okay with you,
5 Commissioner?

6 So we're going to go ahead and take a
7 break. We will reconvene the second panel at
8 3:30s. So thank you very much, everyone, for
9 that first panel discussion.

10 (Off the record at 3:18 p.m.)

11 (On the record at 3:32 p.m.)

12 MS. DE JONG: Okay. I'm going to take
13 just a quick moment to remind everyone, please
14 speak directly into your microphones, both for
15 the court reporter's sake, but also for the
16 audience. We want to make sure that everyone is
17 able to hear the discussions.

18 And so we're going to go ahead and dive
19 right into the second panel. In this panel,
20 we're going to be discussing the priorities for
21 policy and financial support for the lithium
22 recovery process and the appropriate role for the
23 role of government.

24 So the first question is: What would an
25 eco-industrial development model built around

1 this resource look like when done right? And
2 what infrastructure is needed to support lithium
3 recovery, processing and transport?

4 And just to make sure that everyone
5 understands, what we mean by saying that eco-
6 industrial development, we are looking for the
7 holistic, closed-loop approach to development for
8 the most environmentally-conscious plan
9 considering from cradle to grave.

10 Anyone want to take the first lead on
11 that?

12 MR. WILCOX: Well, I'll take a shot at
13 it.

14 COURT REPORTER: Just a little closer to
15 the mike.

16 MR. WILCOX: I'll take a shot at it and
17 then others can.

18 One of the things that -- when we
19 developed the Salton Sea Management Program,
20 which has really developed from the Salton Sea
21 Renewable Energy Initiative, which was an IID
22 document, we needed to make sure that we didn't
23 impact the ability to -- negatively impact the
24 ability for geothermal or any other kind of
25 renewable energy. And while lithium wasn't

1 contemplated at that point, it fits well into it.

2 So our charges and what I'd like to see
3 us come up with is a plan, and we're working with
4 some of the geothermal folks now, a plan on how
5 best we can develop surface habitat in these
6 areas and still allow them to develop, and even
7 beyond that, how we can develop a permitting
8 process through the state and federal agencies
9 that would allow the people that are developing
10 to just pay a fee, one fee for all of the
11 mitigation necessary, and we would use that money
12 toward Salton Sea restoration.

13 And finally, one of the interesting
14 issues that you usually talk about, not much a
15 footprint for the projects and that's usually a
16 good thing, we'd love to see a large footprint on
17 the playa from a dust control point of view. Use
18 as much of it as you need.

19 MR. ROSENTRATER: Phil Rosentrater,
20 Salton Sea Authority.

21 Yeah, I'd like to reiterate what Bruce
22 Wilcox just said. The Salton Sea Authority has a
23 Board of Directors. It's a joint powers
24 authority comprised of two land use agencies, the
25 County of Riverside and Imperial County, two

1 major water importing entities, Colorado River
2 Water, that would be Imperial Irrigation District
3 and Coachella Valley Water District, and then one
4 of the major land owners, the Torres-Martinez
5 Tribe. This is a governing body that is very
6 concerned about the multitude of challenges,
7 environmental challenges at the Salton Sea, at
8 the same time looking at some of these wonderful
9 assets we have in renewable energy, making sure
10 we work in partnership and in consultation with
11 the state on a plan that integrates these kinds
12 of opportunities and these assets as part of a
13 better solution, a more stable solution for a
14 healthier, more prosperous sea.

15 We heard earlier Assemblyman Garcia
16 mention a sound policy from the state's
17 standpoint that -- where we embrace economic
18 development opportunities in one of the most
19 economically challenged areas in the state of
20 California and at the same time, one of the most
21 environmentally challenged areas, that's good
22 policy.

23 The Salton Sea Authority Board of
24 Directors has adopted guiding principles that
25 call for any investment of public monies in this

1 area should be done in a way, in a manner that
2 creates multiple benefits, maximum ROI. And I
3 think we're looking at an opportunity here that
4 fits that criteria rather well.

5 You know, a policy where we, at the
6 state, local and even the federal level, where we
7 prioritize those areas where the -- and we do the
8 integrated work up front to make sure wherever we
9 invest these monies we have -- we're addressing
10 multiple challenges on a scale and a severity
11 found nowhere else in the United States, by the
12 way. If we can accomplish that at the Salton Sea
13 at the local level in partnership with the state,
14 we can then pivot to the federal government and
15 enlist their assistance, as well, and have a much
16 more sustainable ecosystem, a healthier, more
17 prosperous Salton Sea. And that's, I think, what
18 bodes well for any kind of industry and private
19 sector folks who want to invest around the Salton
20 Sea, as well.

21 MS. DE JONG: Go ahead, Andy;

22 MR. HORNE: Yeah. Thanks. You know, the
23 opportunities there have been discussed as far as
24 the potential of, you know, developing geothermal
25 or continuing the geothermal operations and

1 enhancing it with this minerals extraction. And
2 that's, of course, a very good combined use of
3 the resources there.

4 Bruce made a mention of the playa and the
5 dust control issues there. I've long advocated
6 that, you know, that playa -- we have about
7 15,000 acres of solar projects now in operation
8 in Imperial County. Most of that has displaced
9 ag land. And we've got probably that much right
10 now in the exposed playa that, at least
11 theoretically, in my view, could be used for
12 something like either a solar facility or we also
13 have a group down there working on algae biofuel
14 production. Exxon Mobil is involved in that.
15 You know, if you think it's a small group, it's
16 not. And they're spending a lot of money to look
17 at that. So that's a possibility. And then
18 you've got all these types of energy and
19 renewable fuels and lithium that could be
20 produced in that same place and help control dust
21 and provide habitat.

22 And in case -- one of the other things
23 that I noticed in the pictures that Eric showed
24 earlier, there were a lot of green fields around
25 those geothermal plants. And geothermal has

1 proven to be a compatible neighbor with our
2 agricultural production down there which is still
3 a bedrock of our economy. And we certainly think
4 the lithium could -- or minerals extraction
5 could -- should also be compatible. All of this,
6 all of these operations are on agriculturally-
7 zoned land in Imperial County.

8 And so -- and just in terms of
9 compatibility, I don't know how many of you have
10 ever been down there, but the U.S. Fish and
11 Wildlife Service operates a national bird refuge
12 right next door to the geothermal operations down
13 there.

14 So I think there is a proven track record
15 of compatibility and sustainability there that we
16 can certainly expand on.

17 MS. DE JONG: Okay. So we'll go ahead
18 and move on to the second question.

19 What do technology developers need at
20 this stage?

21 MR. WEISGALL: I'll jump in here. At
22 this stage and maybe in the next year or so as
23 this gets going, first and foremost, and
24 Commissioner Hochschild is the poster child for
25 this, but California has got to be a cheerleader

1 for this issue.

2 COMMISSIONER HOCHSCHILD: You think I'm
3 the poster child for a cheerleader?

4 (Laughter.)

5 MR. WEISGALL: Right. Right.

6 MR. GOLDIE-SCOT: Your mother would
7 blush.

8 MR. WEISGALL: Your tag line of lithium
9 is the new oil is pretty good, but it needs
10 cheerleading. That's not dollars.

11 I think point two, though, is dollars.
12 We've discussed it, but there's a need for some
13 funding to prove up the technology and then get
14 to the demonstration plant.

15 The third area, a little bit down the
16 road but I think it's worth thinking about,
17 California, as I'm thinking of attracting the
18 mining companies and the producers, California
19 has a reputation for being a tough place to do
20 business. I could see tying into Salton Sea
21 Authority with expedited permitting. I don't
22 know what permitting is needed exactly but I can
23 certainly see a tie-in there with Salton Sea
24 Authority in terms of moving red tape quickly to
25 get something done.

1 And I guess the fourth thing that came to
2 mind listening this afternoon is, you know,
3 Governor Brown has gone on a number of trade
4 missions to China and elsewhere and taken
5 California companies. I'm kind of thinking of a
6 reverse trade mission where Governor Newsom
7 invites companies to California to hear, as we
8 move this down the road, again, this premature
9 but I could see it in a year or two if this
10 really moves forward, and says California, we're
11 open for business.

12 Because in a way, this is really
13 California versus Chile. If you looked at Eric's
14 chart and where are the real proven resources,
15 it's Chile. And, Steve, I would defer to you. I
16 mean, certainly, there's some in Australia, but
17 it's Chile and Argentina, and California is not
18 on the map. And that's really, that is a job the
19 state is ideal at. That's not -- there's a
20 private sector role but this is perfect for the
21 State of California.

22 So those are a couple of ideas.

23 COMMISSIONER HOCHSCHILD: I just want to
24 build on that. I will say that this discussion
25 has been really, really fruitful and illuminating

1 for me already, and I hope for all of you, as
2 well. I have already heard enough to become
3 persuaded that I think we need a formal entity to
4 focus on this, and whether it's a California
5 lithium initiative or a California lithium
6 authority or something that is going to be
7 driving, you know, doing the barrier busting
8 needed to bring in the investment. Because what
9 I'm hearing is it's clearly cleaner and more
10 environmentally benign to harvest lithium this
11 way, and potentially cheaper, as well.

12 And just, it's also approximate to what
13 we anticipate is going to be a lot more demand
14 for lithium, both for, you know, we've talked
15 about transportation, but keep in mind, you know,
16 the largest building in the world is now being
17 built, and that's the Tesla Battery Factory in
18 Sparks, Nevada. That's also going to need -- you
19 know, so there's just a huge opportunity here.

20 And I do think, you know, the next step
21 is sort of thinking about what's a sort of
22 package of goals that a focused initiative, you
23 know, would try to drill down on and, you know,
24 what does that look like? That's kind of the
25 question in my mind. And, you know, I'm just

1 thinking of -- and then maybe it's also doing
2 these regular convenings with the key agencies.

3 But I would also point out, you know, I
4 think we'll have, you know, a bunch of new
5 members of congress coming in. And you know,
6 this strikes me as there's -- you know, we should
7 be looking for federal funding opportunities, as
8 well, and I'd love to explore that.

9 But anyways, that's kind of where I'm at.

10 MS. DE JONG: Tre, did you have
11 something?

12 MR. BOWLES: I was going to echo, yeah,
13 the federal support. I know Congressman Ruiz has
14 been very active in exploring this opportunity in
15 that area. I've worked for him in a former
16 capacity.

17 The second point, I wanted to ask -- I
18 actually wanted to ask a question about
19 permitting because Tyson knows I spend a lot of
20 time thinking about permitting in my current
21 position. You had mentioned on this example the
22 Elmore facility that was 50 megawatts. What's
23 the difference between permitting this and then
24 one of the larger facilities and what are the
25 headaches that exist in permitting on the local

1 level?

2 MR. WEISGALL: Well, one reason Elmore is
3 at 49.9 megawatts is that geothermal plants up to
4 50 megawatts get permitted at the local level at
5 Imperial County, so the permitting has not been
6 difficult.

7 We did develop and have not built a
8 larger geothermal plant. It was going to be 200-
9 plus megawatts. And actually came here to the
10 Energy Commission for that permitting, probably
11 the first CEC permit for geothermal, Randy, I
12 want to say 20 years or something, yeah, probably
13 in 20 years. And you know, it took a little
14 while but there was a very, really, high level of
15 professionalism here and it went very well, so
16 just on the geothermal side. Now that's for
17 electricity.

18 Now geothermal for -- you know,
19 geothermal -- and if we would be building more
20 geothermal for minerals extraction, that's a
21 different process. I don't think there's any --
22 it would be a new template. And, of course, this
23 is all -- this would all be, you know, a new
24 slate. But I would have to say that to the
25 extent the Energy Commission has been involved in

1 permitting earlier geothermal plants, the big
2 one, it was certainly a pretty positive
3 experience. But again, probably, I want to say,
4 a good two-year process which is a pretty long
5 time for permitting.

6 COURT REPORTER: Please use your
7 microphone.

8 MR. HORNE: Yeah. I got it. Thank you
9 for the reminder.

10 The county has what they call a
11 geothermal overlay over all of this land that's
12 in the Salton Sea KGRA. There's known geothermal
13 resource areas in the county, as well as the
14 other KGRAs in the county which allows geothermal
15 development and mineral extraction with a
16 conditional use permit. And those conditional
17 use permits can be applied for and obtained at
18 the local -- through the county. We do
19 everything there. We've got Planning and
20 Development Services, basically a one-stop shop.
21 You go in there. They pull the other agencies,
22 the county and the state and the federal
23 government together that need to be involved
24 because there are, you know, wildlife issues and
25 so forth that are not on the county's purview.

1 But we pull everybody together and do the
2 permitting through our facilities.

3 In 2015, I think, we adopted or approved
4 the Renewable Energy and Transmission Overlay.
5 It was an update to the General Plan for our
6 county. We're one of the few counties in
7 California that has a renewable energy element in
8 our General Plan. And that was designed to be --
9 and then there was an EIR, and Environmental
10 Impact Report, done along with that, that was
11 designed to be a master EIR to tier off of
12 project-specific permits that would be applied
13 for.

14 So we think we're prepared to deal with
15 that and have done all the groundwork that we can
16 do until a project comes through the door, and
17 then it will be analyzed on a project-specific
18 basis. But we think the permitting can be done
19 in relatively short order and at a relatively low
20 cost compared to some other process.

21 MR. WILCOX: I think I would agree with
22 that, and particularly with the federal
23 government. We've been working with them to get
24 their approval under the same sort of agreements
25 that Andy is talking about. The U.S. Fish and

1 Wildlife Service has already agreed. Army Corps
2 of Engineers has been a little bit more reluctant
3 but we're working with them. And we're also then
4 using that same thing to try to leverage funding
5 with the federal agencies which is difficult at
6 this point and time, but we're still trying.

7 MS. DE JONG: Okay. Yeah, Derek?

8 MR. BENSON: So I'd like to weigh in,
9 maybe as a project developer. You know, with
10 Hudson Ranch 1, we brought that online in 2012.
11 I kind of go back to Andy's comment where, you
12 know, as soon as he saw the tax revenue, he sort
13 of keyed in that slide.

14 I think one thing that is extremely
15 helpful, I think, in terms of, you know, however
16 big the buildout becomes, I mean, you do need to
17 look at supporting infrastructure. But I think
18 important as a developer, tax certainty is
19 helpful because an unknown in any project
20 financing is a real problem. So I'm not
21 necessarily arguing, you know, what that is today
22 but, obviously, California is a pretty high tax
23 rate to begin with. And when you don't have
24 certainty around it, it complicates it even
25 further.

1 So obviously, in industrial development,
2 you know, we support, you know, paying a fair
3 rate. But when you don't really know what it is
4 when you're going into the financing, that's a
5 real challenge. So anything that can be done to
6 sort of lock that formula down is extremely
7 helpful because, you know, we saw it as a problem
8 in power financing, it's going to be the same
9 here.

10 MS. DE JONG: Tyson?

11 MR. ECKERLE: Yeah, just to make sure I
12 understand because you're looking at me, maybe as
13 a business and economic development. Yeah.
14 Yeah. But the -- so where is the issue there in
15 terms of the uncertainty? And when you --

16 MR. BENSON: No. I'm talking about -- so
17 if -- let me back up to maybe like 30,000 feet.

18 When we're talking about a power
19 facility, these are pretty long-lived assets and
20 they have pretty long off-take agreements. So as
21 an example, you know, it would be appropriate to
22 finance a geothermal power project on a 25- or
23 30-year basis. You are not going to do that with
24 a minerals project. And your investor is a very
25 risk-adverse-type investor. The way minerals

1 play, you have to have a different investor
2 group.

3 What I'm saying, though, is when we're
4 talking about going to any financing, when you
5 don't know what the discount rate is that's going
6 to be applied in your tax calculation, that's
7 ultimately a problem. It's one of many as a
8 developer, in addition to, you know, technology
9 risk and everything else.

10 But in terms of government clarity,
11 that's always very helpful.

12 MR. ECKERLE: And so what would you have
13 the state do in that case, is like we sign a deal
14 for long-term tax rate type of thing, is that
15 the --

16 MR. BENSON: I mean, my experience in
17 other states, you have pilots, you know, payment
18 in lieu of tax, so you negotiate a tax rate. You
19 know, I know that's not necessarily applicable
20 here, but something where you know what your tax
21 bill is going to be is helpful.

22 MS. DE JONG: Phil?

23 MR. ROSENTRATER: I was going to say, on
24 the point of certainty, knowing what you're
25 paying and then knowing what you're getting for

1 that is important too.

2 And on that note, I have to say the local
3 governments are now engaged at the county level
4 in creating an enhanced infrastructure, finance
5 infrastructure. They're exploring that, which
6 does not change anything in terms of the tax
7 rate. It does not create any new taxes. It
8 simply provides a mechanism to capture increased
9 value and redirect it for infrastructure which,
10 potentially, could be a way to enhance the
11 development of this enterprise, as well.

12 MR. KENNEDY: Can I just ask the obvious
13 question? There's sufficient rail lines out of
14 Imperial County? I saw some media about a moving
15 mud pile. I just wondered whether, you know,
16 there needs to be further rail infrastructure to
17 get this technology to scale?

18 COURT REPORTER: Please use the
19 microphone.

20 MR. HORNE: Sorry. The Union Pacific
21 main line between L.A. and Houston runs about
22 five miles away from where this is, but there's
23 all kinds of -- in other words, you've got to
24 have a siting. And then the UP is notorious for
25 not -- and I hope the -- is there anybody from UP

1 here? -- for being a little bit difficult to deal
2 with in terms of forming unit trains and, you
3 know, the volume of freight and so forth, so I
4 don't know. But there are state highways in the
5 area that the local, and this is something that
6 Phil was referring to and a question that was
7 asked earlier about it was a question about
8 infrastructure, the local road network there in
9 that area -- and I would think that a lot of this
10 stuff would be shipped out of there on trucks
11 rather than rail -- is abysmal because we are a
12 rural community that doesn't have a big tax base
13 and, you know, we don't have a lot of traffic out
14 on those roads.

15 But as this type of development occurred,
16 then what Phil was talking about is we're looking
17 at this EIFD
18 concept as a way to plow some of that, so
19 enhanced tax revenues back into infrastructure
20 that would help. And there's other grant
21 programs that we're looking at through the
22 federal government to do the same thing. And so
23 it's an issue that would have to be dealt with.

24 MR. WEISGALL: Bottom line, Danny, rail
25 access to the Pacific and the Atlantic without a

1 problem from Imperial.

2 MR. BESSELING: To the extent that potash
3 would ever become commercially viable, we
4 definitely would need rail because the volume of
5 potash would be huge. But right now it's not
6 really economic.

7 MS. DE JONG: Okay. With that, we'll go
8 ahead and move on to the next question.

9 What do marketers and end users see as
10 the next step for sourcing sufficient lithium to
11 meet demands?

12 This might be a good opportunity to talk
13 about adoption into the market or, possibly, if
14 anyone would like to speak on innovation that
15 might disrupt established markets? Okay.

16 Well, without any answers to that, then
17 we'll move on to the fourth question.

18 What is inhibiting investment into
19 lithium extraction from geothermal brine? And
20 what do investors and other stakeholders need to
21 proceed with investing?

22 MR. BESSELING: I think I'll speak to
23 that. It's something we've been kind of circling
24 around and we've iterated a few times already.

25 But I think the main thing really is just

1 the de-risking the technology. Once that nut is
2 cracked, I think it's a pretty easy flow to
3 commercial plants. So it really is just the
4 demonstration plant that we've been talking about
5 to get that first hurdle satisfied and proven on
6 the ground, flowing.

7 MR. HARRISON: You know I agree.

8 MS. WALL: I'm going to actually chime in
9 and say that some of the permitting issues and
10 discussions that have been going on are also some
11 of the questions that I've been getting, as well
12 as the certainty of what that permitting process
13 looks like, what is that timeframe? And it
14 sounds like there is enough information going on
15 here that that's being resolved, but that is
16 another form of uncertainty that is certainly
17 going to happen when you start doing project
18 development, particularly if you try to do
19 commercial-scale development. And you have to
20 get into roadway development, as well.

21 The other thing is something that is a
22 little bit further down here, so I'm going to
23 jump, if that's allowed.

24 There's certainly questions around
25 mineral rights and leasing and royalties, as

1 well. So does -- and I'm hoping that BHE can
2 speak to this from their experience in the zinc
3 plant. But if that zinc plant was specific to
4 producing zinc, that may have been a mineral
5 right from a locatable mineral for zinc. Does
6 lithium qualify for that if you're producing
7 lithium from a brine and it's under the
8 Geothermal Steam Act or this again a separate
9 mineral right that needs be addressed? And who
10 owns that? Is it the technology developer? You
11 know, and how are you splitting those rights?

12 All of that is an uncertainty, at least
13 from the conversations I've had. Obviously,
14 that's something that, you know, perhaps others
15 here have experience for, but that is certainly
16 an unknown on the investment side and questions
17 that we're getting, as well.

18 And then finally, water rights are
19 massive, as well. Does that qualify here? Is
20 this already understood? And to what degree is
21 that split once you start talking about changing
22 up the amount of water that goes back into the
23 resource from geothermal power production to the
24 amount of water that's being used for lithium
25 extraction? There will be some losses and so to

1 what degree does that matter? And what does that
2 cost?

3 MR. BESSELING: I can speak to the one
4 question about the certainty on the mineral
5 rights. In fact, the actual electricity that we
6 produce or the energy that we take is considered
7 a mineral as far as the mineral rights. So we
8 actually have full mineral rights through our
9 lease agreements with the landowners to the
10 extent that they have the rights to the lease to
11 sell them to us. So we have full mineral rights
12 to everything, including the heat off the brine
13 to produce electricity, as well as all -- any
14 minerals that we can find commercially.

15 We have to pay royalties. There's a
16 royalty. Each of our contracts are all unique.
17 They're just specifically separately negotiated
18 but they're really similar in a lot of ways.
19 But, yeah, we have a royalty commitment to them,
20 whatever minerals we take off that are treated
21 differently than when we produce power. It's a
22 different royalty structure.

23 MR. WEISGALL: Your third point about water
24 is well taken. Geothermal as an energy source
25 uses a very modest amount of water for cooling.

1 We would need at least the same amount of water,
2 if not more, for the minerals, not a huge amount.

3 Right now there's, you may or may not
4 know, there's a tremendous litigation battle in
5 Imperial over water rights. And if that doesn't
6 get resolved this can't go forward because it
7 would stop any further development in Imperial
8 that needs water, but that's a litigation issue.

9 But, yes, there is a water need and it's
10 a modest one but it's there.

11 MS. DE JONG: Well, we've started into
12 question five, I'll go ahead and just state it.

13 How can government support development of
14 lithium recover at this time? And what can and
15 should be done at the local and state levels to
16 support development?

17 And then if anyone wants to continue the
18 talks about mineral rights, water rights and land
19 leases, please feel free to do so, as well.

20 Yes, go ahead, Josh.

21 MR. MENGERS: So I'll jump in.
22 Obviously, as the federal role, I stated up at
23 the top that we've been directed to work on lower
24 TRL, technology readiness level, early stage
25 research and development. And that's really been

1 proven out by and large at this point.

2 So with that mandate from the
3 administration, we can't really work in this gap
4 that we're seeing for the Salton Sea. That
5 hasn't stopped us. And we've had two previous
6 funding opportunities for mineral extraction, not
7 just lithium but looking at rarer, manganese, et
8 cetera. We had a phase one which was \$4 million
9 that awarded eight projects, one of which to SRI
10 International. And then in 2016, we followed on
11 with a phase two effort. Again, it was around \$4
12 million. We awarded four projects. Those are
13 coming to a close now.

14 We did some R&D on new technologies and
15 really cutting edge stuff that maybe ten years
16 down the road is going to lower the price point
17 even more. But again, we're working in that
18 early stage, not stuff that's really looking for
19 development now.

20 The other part of that is we did resource
21 assessment. We came to the conclusion that
22 Salton Sea is really the best place to do this.
23 There are other places that, if this proves out,
24 we might want to look into but that's, again,
25 further down the road.

1 The one opportunity we do have that's --
2 the funding opportunity has not yet been released
3 but the topics are available is a collaboration
4 that we have with the Advanced Manufacturing
5 Office that's also the Department of Energy. And
6 they have the Critical Materials Institute there.
7 And we're looking at using geothermal heat or
8 desalination and then mineral extraction from the
9 concentrate brine on the desalination, kind of a
10 systems approach. This could be, it's a smaller
11 scale, but an opportunity to take a proven
12 technology and look at a systems approach. So
13 it's not going to get you all the way there but
14 this might be an opportunity for small businesses
15 working in this space to take a proven technology
16 and work on a systems approach to scale up.

17 There's a lot of data that we have
18 available and as a result of some of these
19 funding opportunities, and that's all available
20 on the Geothermal Data Repository. If you are
21 interested in having access to some of that data,
22 let me know. I'll take your card and I'll let
23 you know how to get access to it.

24 MR. WEISGALL: Josh, just clarify for me for a
25 second, you're at EERE, Energy Efficiency and Renewable

1 Energy Division of DOE, but you've got offices for
2 geothermal. There's an office for advanced
3 manufacturing. Is there also an office for electric
4 vehicles and if so how distant would that tie be in terms
5 of looking for funding for what we're talking about here?

6 MR. MENGERS: So there's not a specific office
7 for electric vehicles.

8 MR. WEISGALL: Or vehicle technology?

9 MR. MENGERS: Vehicle technologies and they are
10 looking at batter technologies and whatnot. And so there
11 are certainly synergies looking at lithium, the Critical
12 Materials Institute might be a nice umbrella that lives
13 in the Advanced Manufacturing Office, but there are
14 collaborations already going on with the Vehicle
15 Technologies Office.

16 MR. WEISGALL: Thank you.

17 MS. DE JONG: Yes, Andy?

18 MR. HORNE: On the question of what local
19 government could or should be doing I can say pretty
20 conclusively, our Board of Supervisors will support these
21 types of project to the fullest extent they can. And it
22 was because of something that -- and I joked earlier
23 about the tax revenues, it's really the jobs that is
24 driving that support. Because of Assemblyman Garcia
25 mentioned we have a historically high unemployment rate

1 down there, so even 50 jobs or 100, but when you talk
2 about -- Eric talked about 400 jobs, that gets their
3 attention. And you multiply that by the number of other
4 projects like Energy Source and the others that are
5 looking at doing a similar thing down there and it really
6 starts to make an impact. And that is a big driver.

7 There was a discussion earlier about this
8 infrastructure finance district and the permitting
9 streamlining that we've tried to do, but there's one
10 other program that I want to mention. And it's called
11 the Community Investment, you know what I'm talking,
12 Jonathan. The CIIP Program, Community Investment
13 Incentive Program I think, CIIP or C-I-I-P. And it's a
14 state law, but the counties have to adopt it. And we
15 have an ordinance that allows qualified manufacturing
16 facilities and an extraction of minerals from geothermal
17 brine qualifies you as a QMF. It allows for a
18 significant tax break on property taxes and there are
19 very few programs that the state has that mess with that,
20 because there are groups like the schools and stuff that
21 rely on that revenue.

22 But in that case you can enter into an
23 agreement for 20 years that reduces the property taxes
24 significantly for a project like this. And I wanted to
25 make mention of that, because it's something that our

1 board and our county and the state have made available to
2 the projects like this.

3 MR. WEISGALL: And I do think our CalEnergy
4 Company, if I'm not mistaken, Andy, is the largest
5 taxpayer in Imperial if not the second largest.

6 MR. HORNE: Well, the geothermal industry as a
7 whole is the largest industry taxpayer, by industry in
8 the county.

9 MR. WEISGALL: Yeah. I won't take a dig at
10 solar facilities here. (Laughter.)

11 MR. KENNEDY: That was very gracious. Can I
12 ask a question of CEC and also maybe GO-Biz? The GO-Biz
13 one is opportunity zone funding, which I'm not sure where
14 you're the point on in the State of California, but this
15 is the new flood of capital coming out of federal tax
16 reform. I believe a lot of the Salton Sea area is an
17 opportunity zone?

18 UNIDENTIFIED SPEAKER: No, it's not.

19 MR. KENNEDY: It is not? Oh.

20 MR. ECKERLE: I don't know. I mean, I can get
21 the answer, but this is certainly not my area of
22 expertise. But just generally speaking, I know GO-Biz
23 would be very interested in all of the business
24 development opportunities and the tax type of stuff. I
25 can't certainly speak for the Newsom Administration, but

1 going forward I'd imagine the policies will be very
2 similar.

3 MR. KENNEDY: Okay, but that's key if it's not.

4 MR. HORNE: I don't believe there is a limited
5 amount of acreage that was available to go into those
6 zones. There's rather stiff competition and a lot of it
7 got in, in Imperial County it got concentrated in the
8 cities, because that's where typically an investment like
9 that would occur.

10 And I think those maps or those zone
11 designations are somewhat fungible, so I mean there could
12 be an opportunity to revisit that in the future.
13 Especially if something this was --

14 MR. KENNEDY: I was going to say I mean one
15 thought with this question of how the state could help,
16 is that as I understand it California hasn't conformed
17 its tax code to the federal tax code. So I think there
18 may be some opportunity to work with it there. And the
19 other would be simply that, again as I understand it and
20 I don't think the IRS has fully promulgated the rules,
21 but you could just be registered in the zone. So your
22 business entity could be in the right place in Imperial
23 County in the right address and attract the capital out
24 of the opportunities and finance.

1 I think that could be something for us all to
2 look at if it's a significant chunk of change, like
3 hundreds of billions of dollars that will come.

4 My question for the CEC is how do we do this
5 life cycle emissions trick? Like who applies standards
6 to EVs and batteries in the California (indiscernible)
7 and make sure that they are going to be consistent with
8 our carbon goals?

9 COMMISSIONER HOCHSCHILD: Well, I don't think
10 we've done a life cycle analysis for them. Someone
11 raised that to me during the break as a possible study we
12 could fund.

13 Michael, do you have any comments?

14 MR. SOKOL: In this area I think we've done a
15 number of research projects. I don't know how far down
16 the life cycle analysis avenue we've gotten. I don't
17 think there's a central authority within the CEC that
18 would kind of look at that. Our siting certainly for
19 specific projects would look over the holistic impacts of
20 a particular plant.

21 COMMISSIONER HOCHSCHILD: In the analysis we do
22 for when we were doing Appliance Standards there is a
23 cost-effectiveness test, which is for the customer of the
24 life cycle of the appliances. Is it cost effective when

1 we do a new standard and we look at energy savings, but I
2 don't -- I mean, Ken, you've done a lot of those.

3 MR. RIDER: Yeah, and it's all been on energy.
4 It's never been on emissions, right? And I think we're
5 talking about emissions here for the life cycle and some
6 of the environmental qualities of that. And I would
7 really say it's in the state ARB is the lead agency that
8 is tracking all the emissions in the economy. And so I
9 think we would look there first to see how farther along
10 they are, they're constantly getting their arms around
11 new spaces where emissions exist. And I'm not
12 knowledgeable about where they are on this, but this
13 would be the right agency.

14 The Energy Commission typically doesn't get
15 that detailed on specifically emissions. On energy we
16 do, but not -- that's more of an ARB thing.

17 MR. ROSENTRATER: Realizing that much of the
18 demand for the lithium is coming from the electric
19 vehicle market that having infrastructure installed that
20 will reduce range anxiety, having the charging stations
21 for EV vehicles. Riverside County has done a lot of work
22 with the CEC to accomplish that. In fact, they have more
23 charging stations than any other entity is Southern
24 California at this point other than Disneyland.

1 But that is the kind of infrastructure that is
2 already being invested in, but additional reinforcement
3 of that and expansion, particularly I think it might be
4 welcome under the incoming administration. That's the
5 kind of thing I think builds a market and it builds a
6 market case for lithium development.

7 MS. DE JONG: Okay, so we'll ahead and move on
8 to the last question. Just to tie both of these panels
9 together we've been talking through quite a few of the
10 economic and technical challenges, so what are the
11 research and funding priorities that can address these
12 challenges?

13 MR. SOKOL: This is Mike. Just to elaborate on
14 what Elisabeth said I think we've heard a lot of what can
15 be done, but the real emphasis is on the word
16 "priorities" here. I think the question is kind of where
17 do we start based on all the discussion and wrapping up
18 the discussion from the first panel as well.

19 DR. GINLEY: Okay, I'll say something just to
20 get things started. By just listening to the discussion,
21 it seems like there's already a pretty good case for the
22 economics of the lithium you produce. It doesn't seem
23 like there's a very complete life cycle analysis for the
24 whole thing and what other peripheral implications might
25 be of implementing the technology on scale.

1 That seems like something you'd want to do
2 right off the bat, because I suspect it's actually quite
3 benign compared to other things that we might do. And
4 that would be a really good sales point. I think there's
5 the issue of, does California want as a business
6 proposition, to become the lithium supplier to the
7 nation? Which I think you could actually do. I think
8 there's significant national security implications in
9 being able to do that, though very attractive and might
10 sell well right now, especially if we make it a domestic
11 market.

12 I think there's a -- the comments before about
13 the fact that there are multiple technologies that could
14 work in inversive situations. I think there's an
15 opportunity to do a little technology sorting to see
16 where you might want to invest your \$60 million the most
17 sensibly, that would make scalable plants. And I'll shut
18 up.

19 COMMISSIONER HOCHSCHILD: I just, you know,
20 would add one other point, which is so my background is
21 in the solar industry before I started this job. And in
22 federal subsidies I think we made a mistake as a country
23 in our approach on funding solar, because most of the
24 funding actually in the solar industry went to thin film
25 rather than crystalline. And for much of the last 30

1 years thin film was 20 percent of the market and
2 crystalline was 80 percent. We are spending most of the
3 money on film and today film is 4 percent of the market
4 and crystalline is 96 percent, okay? So we kind of
5 whiffed on that.

6 And I just think to me lithium is the new
7 silicone. It is the new crystalline silicone really, and
8 you have this incredible elegant market pull of what's
9 powering all of our cell phones and our laptops and
10 energy storage and vehicles all combining and helping us
11 get economies of scale in this storage technology. It
12 really is, I think turning out to be dominant. And that
13 has, how would I put it, a target of increasing energy
14 density of lithium ion.

15 So some months ago we had the cofounder of
16 Tesla in here, JB Straubel, who gave a presentation on
17 Tesla's storage strategy. One of the points he made was
18 that there's a lot of focus on the cost reduction curve
19 for lithium ion, but what's just as significant is the
20 energy density going up. So basically that also is
21 another -- I mean, that's a very promising trend to me,
22 because as energy density goes up it means -- so I drive
23 a Chevy Bolt to a 30-mile range. A lot of that is
24 dictated by how many cells you can fit into the car and
25 as the energy density goes up we will end up with

1 probably a 400-mile range being standard. That then
2 really tips the balance for a lot of folks who are making
3 a decision based on range and so on.

4 So I guess one question I wanted a little
5 more comment on from maybe Department of Energy and NREL.
6 I mean, what else do you think we ought to be doing to
7 lay the groundwork for getting more federal resources
8 into this? I mean, if we really do believe that lithium
9 is going to follow the path that crystalline has
10 followed. By the way, just to be clear the single
11 largest new capacity edition domestically in the United
12 States last year and globally last year, was crystalline
13 solar PV, right? It's bigger than wind, bigger than gas,
14 bigger than coal. So that has turned out to be very fast
15 growing.

16 I mean, if that's our belief with lithium what
17 else should we be doing to help make the case for this to
18 become a federal as well as a state focus?

19 MR. MENGERS: So I don't know what else we can
20 do. I know that the Critical Materials Institute and
21 Vehicle Technologies Office, Advanced Manufacturing
22 Office, in the DOE you go more broadly across the federal
23 government, Department of the Interior, USGS, a number of
24 other agencies are looking at lithium itself.

1 If we're talking in the context of from
2 geothermal brines that falls squarely on the Geothermal
3 Technologies Office. And with the constraints on where
4 we are, I think David had some great ideas about the
5 technology sorting. That's something that we could
6 certainly say is in this lower TRL range, that we could
7 look at that as being something we could do in the next
8 couple of years and that might be something that could
9 then potentially scale up to the next step of doing this
10 demonstration scale.

11 But a flag probably just raised, because a
12 federal employee just said "demonstration scale."
13 (Laughter.) You know, that's the sort of thing where
14 that's verboten. So and under our current constraints
15 we're not going to be able to take that leap to be able
16 to make this enticing to investors at the federal scale.

17 MR. WEISGALL: So I'm going to say something
18 that Josh can't say. There's absolutely nothing to stop
19 this group collectively or individual stakeholders to go
20 to the House Appropriations Committee to appropriate and
21 make appropriations for this specific project. That's
22 done all the time. That would be another step, and I
23 think a very important step, and certainly where my
24 thinking is going coming out of this.

1 I mean, I appreciate the limits, Josh. And
2 then this is TRL, Technology Readiness Level. We're
3 beyond technology readiness, I think. We're kind of --
4 we've got to prove that, but we're well along and this
5 just doesn't fall into this is trying to get a square peg
6 into a round hole and it's not going to work right now
7 with your limitations. But I think that there's a way to
8 overcome that in Congress especially. Well, given the
9 political issues now I think this can be a tremendous
10 selling point.

11 COMMISSIONER HOCHSCHILD: Yeah, and again the
12 leadership both in the Majority and the Minority in the
13 House is California, so that's a good thought.

14 MS. WALL: If I can just echo that. I actually
15 came from NREL before I joined Capstone and so having
16 worked with the DOE on and being a technical adviser
17 there, some of the technologies that are really close to
18 being commercial, but having had someone like Simbol that
19 is newly commercial, there are other technologies in
20 place. Obviously I'm kind of MGX, but there are other
21 players in the market right now that really just they
22 need to get over this valley of death and have a
23 demonstration and project in place. To what degree that
24 this Commission and the state can assist in getting that
25 resource and providing surety that the permitting process

1 and the rights are available to them when they're ready
2 to do that project. And to partner with developers in a
3 way that makes sense for both parties, that surety and
4 the ability to have a good business environment to me is
5 really the only limitation for financial providers at
6 least from our viewpoint.

7 MS. DE JONG: Yeah, go ahead, Tyson.

8 MR. ECKERLE: So I guess just for the DC idea,
9 would it make it easier to sell that idea to have this
10 California Lithium Initiative first or does that
11 appropriation come and then kick off the initiative?

12 DR. GINLEY: So I think having some definition
13 of an initiative in California would definitely help, I
14 think. So obviously the environment in Washington is
15 constantly changing. But the one thing that has remained
16 constant is this idea of sort of critical materials and
17 what underlies future technologies.

18 I think everybody, even Detroit, is willing to
19 admit that EVs are coming en masse. And right now we all
20 feel vulnerable with respect to the lithium supply. And
21 not only that, other elements as well have impending
22 criticality that may be just as bad and some of those
23 elements actually are in geothermal brine, so you might
24 even be able to expand the scope. But if you have an
25 initiative as a foundation I think you can do exactly

1 what you said, which we're not allowed to do, but which
2 is create a national initiative and have it funded
3 directly out of Congress.

4 MR. WEISGALL: We call it a strategic
5 (indiscernible --

6 MR. ROSENTRATER: In terms of chicken and egg
7 (indiscernible) California initiative, we've run into the
8 ABC too often, Anywhere But California, back in
9 Washington. A national strategic minerals initiative,
10 something along those lines I think would play really
11 well.

12 MR. WEISGALL: And my answer to your question
13 would be I'd get started sooner rather than later. I
14 mean, you define the program, you move it, it changes,
15 but you get the momentum going. So it's certainly -- I
16 mean, that's one of my major takeaways from today. And
17 you'll be hearing from me.

18 MS. WALL: If I can make one more comment on
19 that theme, because I think that's really something that
20 hasn't been brought up enough, is the timeline to
21 bringing lithium online. This is not just a six-month
22 process or even frankly an eighteen-month process in
23 building a plant. You have a demonstration plant proving
24 this out then building your whole plant and still then
25 having to go ahead and produce a product before that

1 actually gets to market. So to be able to supply someone
2 like Tesla who needs demand now, you're still seeing that
3 if you were to start today on this you probably wouldn't
4 be able to get them anything probably for at least three
5 years, if I'm being conservative.

6 So that timeframe needs to be baked into this
7 discussion as well, because new developments, new
8 geothermal plants, new well developments such as any of
9 these other resources whether it's BHE or CTR, then you
10 have to tack on all the permitting for a typical
11 geothermal well drilling. And proving out that resource
12 as well, which frankly from my understanding is still a
13 six-year process for permitting. So six plus three
14 you're now talking about nine years before you get that
15 lithium online.

16 So if you have people here today, the faster
17 that you can move on current operations and getting this
18 proven, it will help to set a standard that can be used
19 going forward. But you're still not talking about this
20 being something that happens tomorrow.

21 MR. KENNEDY: Sorry, could you repeat what the
22 six-year addition to the three-year timeframe was?

23 MS. WALL: Oh, I apologize. So from looking at
24 past history in geothermal projects, even though
25 technically if everything went to plan theoretically you

1 should be able to put a plant online between drilling a
2 well, proving a resource and then putting a geothermal
3 plant online could take three-and-a-half years, maybe
4 four. But typically permitting timelines, because of the
5 fact that it takes time to actually get all of the
6 information in place and then also the permit, no offense
7 to the county people here just sometimes it's a process.
8 It takes longer than that ideal. And that on average has
9 taken approximately six years, sometimes ten.

10 I mean, even a well field in Iceland, for
11 example, which is I'm going to use that example, because
12 it's so great. The field itself was available, it
13 worked. Their expansion plant took ten years to permit
14 and put online, so and that's actually a typical timeline
15 for historical geothermal development. If that still
16 takes that time and just then getting a project on
17 project risk of asking that plant to add in a lithium
18 extraction plant, it takes more time then to bring on
19 those partners. So the more that this Commission can
20 make that process easy and smooth, the better it will be
21 for business.

22 MR. WEISGALL: Let me try to clarify a little
23 bit there. So I mean from our company's perspective we
24 have ten existing geothermal wells and plants, so we're
25 not -- but Anna's absolutely right. I mean, if we were

1 trying from scratch we'd be talking six years. We're not
2 factoring in that six, seven, eight-year period, because
3 we're ready to go with the resource. You're absolutely
4 right in terms of what it's going to take to start
5 producing the lithium. In fact, I think your three-year
6 period is probably optimistic. In our own plan we're
7 thinking closer to five years all said and done.

8 Now, nothing wrong with that and I think the
9 timing there is great, especially when you look at the
10 potential quadrupling of the lithium market in the next
11 decade. But yes, there would certainly be challenges
12 going forward to provide new resources.

13 MR. KENNEDY: In fact, a five-to-six year
14 timeline would almost perfectly match the window of when
15 supply (indiscernible) --

16 MR. WEISGALL: Exactly.

17 MR. KENNEDY: And the new Governor's first term
18 in office, so. (Laughter.)

19 MR. BESSELING: I'd just make a comment that I
20 don't think you're going to see the project-on-project
21 risks like build a geothermal then lithium production.
22 I've got to believe that the future will be one plant
23 doing both, I really do.

24 MS. WALL: I hope so and frankly from a
25 technologies perspective this right now without having a

1 known technology either is -- there could be an option
2 and technology could work upfront, you know? But prior
3 to a geothermal plant or you can put it on the backend of
4 a geothermal turbine, but this is an optimization
5 problem. Are you optimizing your plant to produce
6 geothermal power or are you optimizing it for lithium
7 production? And that would be to me what a new product
8 development would have to look like.

9 If you're trying to optimize how much lithium
10 you get out of the plant you're going to change that
11 design to fit that and then absolutely it's a single
12 project. But if your thought is you're going to supply
13 geothermal energy and maybe down the road you're going to
14 keep an option to put lithium on at the end that's two
15 separate projects.

16 MR. BESSELING: Yeah, just so two thoughts on
17 that or two comments. First of all, geothermal will not
18 get built, I'm convinced of it, without lithium. So it
19 has to be part of the package, so it's a one-plant
20 design. The other thing is if you look at the revenue
21 stream you're looking at 5-to-1 on the lithium, so the
22 answer is lithium will be the optimizing element for
23 sure.

24 MS. DE JONG: Okay. Well, now seems like the
25 perfect time to move over to our public comments and

1 we're going to go ahead and start with folks in the room.
2 And Gina's going to bring a microphone.

3 MR. HARRIS: Good afternoon, Jeff Harris at the
4 law firm of Ellison, Schneider, Harris & Donlan here in
5 Sacramento. I'm making public comments on behalf, and
6 not on behalf, of any particular client. I want to come
7 back to this issue of permitting, because I think that's
8 an important issue. It's something that we do a lot of
9 permitting here at the Energy Commission. You're
10 correct, geothermal permitting is complex enough as it
11 is, but I think there's an opportunity and instead of
12 just complaining, Commissioner, I'll basically get to a
13 recommendation.

14 But I do want to set out how complex this is.
15 You've got the well fields on the front end, which could
16 be permitted locally. You've got a 50-megawatt power
17 plant or grader, which is going to be going through the
18 Energy Commission's jurisdiction. You have the injection
19 wells, which are federal arguably although they may be
20 administered by the Regional Board or somebody else. So
21 there's a very complex permitting path, which I like.

22 And just as all the developers today were very
23 coy about their technologies and their combination of
24 proprietary technologies I'm not going to give you the
25 key to how I think you get through process. But I do

1 think that the Commission ought to look at this issue.

2 And I think maybe having the General Counsel's Office or
3 someone in Chief Counsel's Office sort of put together a
4 white paper on how this might work would be really good.

5 I'm a little loath to say that, because in the
6 past the Commission has suggested the problem with siting
7 was that developers needed manuals. They don't, but an
8 understanding of how you all see the path is good. And
9 like I said I think I have the answer, but being right is
10 just a good start. And what you think is more important
11 than what I think and so I would highly encourage you to
12 ask the General Counsel's Office to put together some
13 sort of white paper or view of how the permitting works
14 and tying together all the alphabet soup of CARB and DOG
15 and DOGGR and the APCD and all those other entities.

16 Once you have that my next suggestion would be
17 to put together an MOU, a state and federal MOU on how
18 this permitting process would work. There was a process
19 put together for some of the ARRA projects, anyway I
20 won't try to recreate the acronym, but you know what I'm
21 talking about. That's going to be very important for
22 some certainty to know how these agencies are going to
23 deal with this. How they view the state and federal
24 overlap. How they're going to coordinate their efforts.
25 How we're going to avoid extra environmental review.

1 And so once I think you have your house in
2 order in terms of how you think it works, I think putting
3 together a program with the federal government, the state
4 and federal partnership on this would be I think really
5 critical.

6 And then, I guess finally at the end of the day
7 I think once that permitting path is set you are going to
8 have to recognize that ag land in Imperial County is not
9 Joshua Tree. And one of my great fears for permitting
10 certainty, for mitigation costs and for time of getting
11 these projects online is that people will take the
12 lessons learned in the DRECP process and try to apply
13 them where they're not applicable. So having some kind
14 of understanding about the state of the habitat down
15 there, combining that with the state's current
16 obligations under the Salton Sea Restoration, it just
17 seems like a non brainer.

18 But I think you have a little bit of time now
19 to try to put together a state and federal effort that
20 can streamline these processes. There are going to be
21 projects that will potentially add 50 megawatts to
22 existing facilities or more than 50 megawatts to make
23 them scalable. And so I think it's really critical for
24 this Commission to clearly articulate their view of how

1 that permitting path lays out and how you can streamline
2 it, so.

3 COMMISSIONER HOCHSCHILD: Can I ask before we
4 leave Jeff, Stephen, can you just comment on what permits
5 did you pull to do lithium extraction, even a pilot
6 level?

7 MR. HARRISON: Well, I'll answer two questions,
8 because we actually applied for a permit to operate in a
9 commercial facility as well and we got that. And that
10 was at --

11 COMMISSIONER HOCHSCHILD: Who granted that
12 permit?

13 MR. HARRISON: At the county level.

14 COMMISSIONER HOCHSCHILD: The county, yeah.
15 Right.

16 MR. HARRISON: It wasn't that onerous as --

17 COMMISSIONER HOCHSCHILD: Was not that onerous?

18 MR. HARRISON: But time has changed and that
19 was over a few years ago. If we're talking about
20 something where the plant is integrated with lithium
21 extraction that is a lot more challenging; the permits to
22 operate a pilot plant, that was trivial frankly.

23 COMMISSIONER HOCHSCHILD: That's good feedback.
24 I mean, just so you know I am not interested in expanding
25 the Energy Commission's scope of authority here for the

1 purpose of doing that. I really would like to see what
2 is going to benefit the market the most. And if there's
3 not a problem, if it ain't broke don't fix it, is kind of
4 my thinking.

5 MR. HARRISON: But tying in lithium production
6 in a very big geothermal plant that is challenging and
7 complicated, which is leading here. Is it a geothermal
8 power project or is it a mineral extraction and what does
9 that mean?

10 MS. DE JONG: We have one more --

11 MS. BESSELING: I was just going to say the key
12 there is a new plant versus existing, so leveraging off
13 of an existing facility and it's all pretty much the big
14 part is the brining: getting the brine out of the ground,
15 putting it back in the ground, those extra regulations
16 and permits that go with that is a big challenge. And we
17 went through that with our Black Rock Development, which
18 was a roughly 200-megawatt facility. And it was a four-
19 year process. If we had to bring into that the
20 complication of lithium extraction all under one house I
21 think it would be five, six years to permitting.

22 MS. DE JONG: We have one more comment in the
23 room.

24 MS. HEYDORN: Yeah, hi. This is Barb Heydorn
25 from SRI International. This isn't so much a comment as

1 a question for the people here in the room. I'm just
2 wondering if there's an analog between this industry and
3 carbon capture. I know a lot of our researchers have
4 been struggling with how to bring these technologies to
5 scale. And something that was built was the National
6 Carbon Capture Center, which was a common resource that a
7 variety of people could come and test their technologies.
8 And I'm just wondering if that's something that would be
9 appropriate for California to consider as a way to get
10 some of these lithium recovery technologies demonstrated
11 at sufficient scale?

12 MR. WEISGALL: I'm going to give a stab at
13 that, at an answer for you. Certainly from our company's
14 perspective, Berkshire Hathaway Energy, as you may have
15 heard earlier the reason we're not throwing \$60 million
16 right now to build a demonstration plant is we're not in
17 the minerals business; we're in the electricity business.

18 Having said that I see no reason why we would
19 not work with anyone with any technology. Anna has
20 correctly stated that there are different technologies
21 out there. It is certainly in our company's interest to
22 find the most effective and the most cost effective and I
23 see no reason why we would not work with anyone to
24 provide the resource, the geothermal brine, to test
25 anything out.

1 I mean, I say that I'm painting with a broad
2 brush there. Obviously, the devil's in the detail, but
3 it certainly would be in our company's interests to do
4 that and I think in the overall interests to make this
5 work. We can't be that protective moving forward,
6 there's a need as David, you talked earlier about the
7 need for some kind of consortium on the R&D side as well.
8 And I think that's also part of it, so I hope that
9 addresses your question.

10 MR. BESSELING: It does come with one
11 commercial caveat though, and that is it's a two-way
12 street. It's a transparent process and that technology's
13 available back for us to take advantage of as well, so
14 it's an open process. If it's just for parties to come
15 in under a shielded guard to develop their technologies
16 and then go try to peddle and hold it hostage that's not
17 what we're up for. We're up for just open transparency
18 to get the technology to the market.

19 MS. DE JONG: So we're going to public comments
20 from Tom Currin on the phone.

21 MR. CURRIN: My name is Tom Currin. Yes, my
22 name is Tom Currin. I tried to call in earlier, I
23 apologize. I'm an independent lithium processing expert,
24 40 years of experience in lithium processing. I spent

1 the last ten years involved in demonstration plants in
2 Canada, Chile and Mexico and six months in the Valley.

3 The reason that lithium hydroxide production in
4 the Salton Sea has not moved forward, in my opinion, is
5 because a package of technologies has not been
6 demonstrated. To be successful in the Salton Sea we must
7 demonstrate four-unit operations: pretreatment, lithium
8 selectivity, lithium concentration and lithium
9 production.

10 I support the comments that were made about the
11 need for a demonstration innovation center. Building
12 confidence in the process is critical for investors.
13 Where I would offer a different perspective is in a
14 milestone-based demonstration plant that can be
15 established for much lower costs than \$50 million. The
16 major issue is the continuous process where spill up and
17 the issue is scale, issues can be evaluated. I believe
18 this can be done for less than \$10 million and the reason
19 being is that it is a modular plant that can be expanded
20 modularly to the tenth scale and the technology de-risks
21 as you move forward. My reasoning is based on using
22 modular systems that scale up very similar to membrane
23 de-cell (phonetic) systems.

24 All of the above-process units I described can
25 be modularized. With FUD (phonetic) I also disagree or

1 have a different opinion with funding and the right
2 implementation partner, the first stage of demonstrating
3 the viability of the process can be implemented in less
4 than a year with flowing brine.

5 Thank you very much.

6 MS. DE JONG: Thank you very much.

7 And I'm going to go ahead and read a question
8 that we had over WebEx. We may have lost this person's
9 connection, but the question is from Kyle Boynton. And
10 the question is, "From an investment point of view are
11 there other minerals contained within the brine that have
12 been looked into further for extraction and production of
13 some end product?"

14 MR. HARRISON: Yes, zinc was mentioned
15 previously. Manganese has been looked into as has
16 potassium. The CEC funded a project on potassium with
17 Simbol, unfortunately not completed due to the company's
18 financial difficulties. But there are also other
19 elements of a much lower concentration that could be
20 exploited from this brine: cesium and rubidium for
21 example.

22 MS. DE JONG: Okay.

23 MR. MENGERS: I'll also mention from the
24 Department of Energy that rare earth elements have
25 certainly been looked at as well as precious metals.

1 MS. DE JONG: Okay, do we have any other public
2 comments in the room?

3 MS. WALL: I'd actually like to comment on the
4 gentleman, Tom Currin? So I wanted to just reiterate
5 that so we've been talking about demonstration plants,
6 but to his points this is not just lithium extraction,
7 because that includes steps. I mean, most geothermal
8 plants frankly, already today, have pretreatment in some
9 shape or form to remove silica, particularly in the
10 Salton Sea. But a demonstration plant is not just the
11 lithium extraction itself. It's a combination of
12 multiple processes that will have to go on and they're
13 multiple different technologies.

14 Not to pick on Stephen, but I believe in
15 Simbol's process there's at least four different
16 technologies just to sequentially extract the silica, the
17 manganese as well as other materials. And then finally
18 the lithium, I believe as the last step. But that is a
19 process step in this extraction. It's not just one
20 technology necessarily. And obviously that differs for
21 different technology providers, but there's still some
22 pretreatment in that.

23 Secondly, most of these systems are modular
24 anyway. They're not necessarily going to be built at
25 full scale. These are systems that would be built at --

1 you know, essentially could be built at a specific plant
2 and then multiple systems are built for the entire well
3 field of a geothermal system. That's already taken care
4 of by all of these technology providers that I've seen so
5 far today.

6 And then secondly, in terms of the phasing, the
7 proven technology, I think that just frankly reiterates
8 that there's still a construction timeframe within all of
9 this. So yes, absolutely you could get milestone-based
10 funding. That's certainly not a question. That's been
11 done in potash. So if we look at potash for example, as
12 soon as you hit certain milestones for permitting in your
13 demonstration plant, that same investor might invest that
14 additional amount of money for your commercial plant.
15 That is all investor-based and their own risk perspective
16 in this. But those are all opportunities that are
17 currently available through either the mining side or are
18 currently in the process, in the works for these
19 technologies, at least from my understanding of the
20 market today.

21 MS. DE JONG: Okay. Thank you.

22 And just be sure that we get everyone on WebEx
23 we're going to go ahead and unmute the lines. If you
24 don't wish to speak please mute your own volume, but

1 we're going to go ahead and unmute. If you want to
2 speak, go ahead.

3 (No audible response.)

4 MS. DE JONG: Okay, not hearing any comments on
5 the phones I would just like to take one more second here
6 to encourage everyone to take advantage of the docketing
7 process. The notes for how to do that are in that
8 workshop notice in the handouts that we've provided.
9 Please feel free to docket any further questions or
10 information that you would like to share with this group.
11 And I'd like to thank you guys for your participation,
12 both on the panels and in the audience.

13 I'm going to go ahead and turn over to
14 Commissioner David Hochschild for closing comments.

15 COMMISSIONER HOCHSCHILD: Well, first let me
16 thank you Elisabeth and the all the rest of the staff who
17 made today's meeting possible; a very, very fruitful
18 discussion from my perspective. I did one question, as I
19 mentioned I am persuaded we have enough evidence here
20 this is a legitimate goal to actually formalize this
21 effort. And then how that happens, whether it's an
22 executive order or some other measure.

23 For example, we did form a year-and-a-half ago
24 an offshore wind taskforce. We got all the agencies that
25 are engaged in that issue, Coast Guard maybe, all the

1 Lance Commission and so forth that we've been meeting
2 regularly, that's really helped smooth out the permitting
3 pathway for that. And something similar, I think is
4 needed for this.

5 But just a question for folks here, who is not
6 represented here that you think ought to be in this
7 conversation? And I'm just thinking aloud. One sector
8 we didn't talk very much about, there's all these other
9 two-wheeled electric vehicles. You know, Uber has bought
10 JUMP bikes, which are all over Sacramento. There are
11 electric scooters in cities and so on. And Silicone
12 Valley Leadership, for example, represents many of the
13 companies doing innovation in that space. I think they
14 would be a conservative partner in a conversation like
15 this, but is there anyone else who comes to mind as a
16 stakeholder that's not here, but should be? And if you
17 can't think of anyone but think of someone later, let us
18 know.

19 Yeah, Danny?

20 MR. KENNEDY: There are a number of small
21 battery component manufacturers and battery manufacturers
22 in California that, you know, aren't the Tesla
23 Gigafactory scale, but specialists for the Department of
24 Defense down in San Diego; SimpliPhi out of Ojai,
25 California, various others.

1 And I feel like it's not a cottage industry,
2 but it's a small pie value industry that California has
3 some of. And they're currently buying the raw materials
4 for their products and the cells into their battery packs
5 out of Asia largely and getting them under the table as
6 they (indiscernible) run through this.

7 And similarly, I think we talked a bit about
8 the incoming industrial opportunity on the shores of the
9 Salton Sea itself. But there's really a closed loop
10 here, if you've got the biggest single buyer being Tesla
11 when you build your first plant to take the 90,000 tons,
12 and then some of these smaller cats and dogs buying the
13 rest of the lithium carbonate you produce. You have the
14 EV production here at the Fremont facility: the EV buses,
15 the bikes of GenZE and Fremont also, etcetera.

16 And there's a recycling opportunity, which NREL
17 was actually modeled with a company called Resourcer
18 (phonetic) out Michigan, I believe, who do 95 percent
19 already of upcycling of the lithium back into batteries,
20 better quality than the lithium that went in.

21 So, you know, California could have a cost or
22 an industry development strategy, which is far greater
23 than just the raw material extraction although that would
24 be great since that's at the beginning of the slate as

1 Assembly Member Garcia said earlier. We could involve
2 the whole depth and breadth of this thing.

3 COMMISSIONER HOCHSCHILD: True, let's hope.

4 Yeah, anyone else?

5 DR. GINLEY: So I was just going to say that
6 the end-user community probably should get involved and
7 that's the micro-electronics community. It's the EV
8 community. It's the growing electrified bicycle
9 community. You know, with these companies putting bikes
10 all over that are electrified power there'd be a lot of
11 lithium batteries out there.

12 Then, I think the other area, which actually
13 California is already the lead, is in the autonomous
14 flight vehicles. And if you read the Uber Position Paper
15 this is going to be a huge thing coming up and they're
16 going to use as many, if not more lithium batteries than
17 in EV to keep those things in flight. So I think that if
18 you engage that community early on they'll be your
19 strongest supporters.

20 COMMISSIONER HOCHSCHILD: Yeah, and by the way
21 you think about Apple right, the most valuable company in
22 the world. A California company, they don't manufacture
23 here, but they have made enormous environmental
24 commitments, 100 percent renewables not just for -- their
25 goal is enough renewables to power every single Apple

1 device and all of the Apple manufacturing. And I think
2 that's another opportunity.

3 MR. KENNEDY: Sorry, one more thought on that.
4 I mean, they were the biggest battery consumer until last
5 year, in the world. Apple, because of all your iPhones,
6 advanced lithium batteries. But City of Los Angeles, I
7 don't know how Imperial County and L.A. get on, but
8 they're driving this mobility transition by the Olympics
9 in 2028. They're going to be the biggest demand center
10 of lithium in America in the next decade. They could
11 have a partnership here to see it get done.

12 MR. HORNE: It's interesting yeah, because the
13 Los Angeles Department of Water and Power, which is part
14 of the city owns some property down there right along the
15 Salton Sea. But the other person I was going to say, and
16 somebody for IID was here earlier, but the Imperial
17 Irrigation District is the largest landowner in that
18 area. They are also, if a question comes up about water
19 rights, they are the holder of water rights there and in
20 charge of allocating water to the users, to agricultural
21 and industrial users.

22 And I don't, Elisabeth, if they were invited to
23 participate, but they probably should be at the table in
24 the future.

25 COMMISSIONER HOCHSCHILD: Yeah.

1 MS. DE JONG: I'm sorry, just a comment on
2 that. Yes, they were invited to participate. They ended
3 up having just a member that was able to come for the
4 audience.

5 COMMISSIONER HOCHSCHILD: Well look, let me
6 just thank everybody again. I just want to close by
7 saying I think we should all have really an expansive
8 sense of possibility about how quickly our energy system
9 can transform. And I would point out that Tesla, which
10 was founded exactly 15 years ago, is more valuable than
11 Ford, which was founded 115 years ago. And we're seeing
12 transformation take place at a pace that's unprecedented.
13 And, you know, the journey of a thousand miles begins
14 with a single step and I think this is really an
15 important piece of this energy journey. So I really want
16 to express my gratitude to everybody for making the time
17 to come here and get up at 3:00 in the morning to get
18 yourself here, very, very grateful, so thank you all.

19 Yeah?

20 MR. WEISGALL: Just to follow up and maybe you
21 already do this, Elisabeth, it would really be nice if
22 you could circulate to the folks here just email contacts
23 for everyone? I mean, there's just a lot of synergy has
24 developed here. If you could do that, that'd be great.

1 MS. DE JONG: Yeah, I'd be happy to facilitate
2 that after the workshop, sure.

3 COMMISSIONER HOCHSCHILD: Okay. Well let's
4 thank staff again for organization this. Thank you,
5 guys.

6 (Applause.)

7 And please do mind the smoke outside. It's
8 really hazardous, so try not to be out there more than
9 you have to.

10 (Whereupon, the Lead Commissioner Workshop
11 was adjourned at 4:50 p.m.)

12 --oOo--

13

14

15

16

17

18

19

20

21

22

23

24


25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 11th day of December, 2018.



PETER PETTY
CER**D-493
Notary Public

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



December 11, 2018

MARTHA L. NELSON, CERT**367