

DOCKETED

| | |
|-------------------------|--|
| Docket Number: | 18-HYD-04 |
| Project Title: | Draft Solicitation Concepts for Light-Duty Hydrogen Refueling Infrastructure |
| TN #: | 227170 |
| Document Title: | Transcript of 02122019 Staff Workshop |
| Description: | N/A |
| Filer: | Cody Goldthrite |
| Organization: | California Energy Commission |
| Submitter Role: | Commission Staff |
| Submission Date: | 2/25/2019 1:22:42 PM |
| Docketed Date: | 2/25/2019 |

CALIFORNIA ENERGY COMMISSION

In the Matter of:

Alternative and Renewable)
Fuel and Vehicle Technology) Docket No.: 18-HYD-04
Program)

STAFF WORKSHOP

WARREN-ALQUIST STATE ENERGY BUILDING

FIRST FLOOR

ART ROSENFELD HEARING ROOM

1516 9TH STREET

SACRAMENTO, CALIFORNIA

TUESDAY, FEBRUARY 12, 2019

10:00 A.M.

Reported by:

Susan Palmer

APPEARANCES

STAFF

Phil Cazal

John Butler

Mark Johnson

Jean Baronas

Miki Crowell

Jane Berner

PUBLIC COMMENT

Wayne Leighty, Shell Hydrogen

Matt McClory, Toyota

Steve Ellis, American Honda

Brian Bonner, Air Products

Jaimie Levin, Center for Transportation and the
Environment

Mikael Sloth, NEL Hydrogen

Dwight Zuck, Air Liquide

Joe Cappello, Iwatani

Dave Edwards, Air Liquide

Steven Brooks, Retail Energy Solutions

Jorge Lopez, Air Liquide

Tim Brown, First Element Fuel

Gia Vacin, GO-Biz

APPEARANCES

PUBLIC COMMENT

Steve Jones, ITM Power

Matt Forrest, Mercedes Benz

David Park, California Fuel Cell Partnership

Andrew Martinez, California Air Resources Board

P R O C E E D I N G S

10:03 A.M.

SACRAMENTO, CALIFORNIA, TUESDAY, FEBRUARY 12, 2019

MR. CAZEL: So good morning to those of you in the room and those of you joining us on WebEx. This is the Hydrogen Draft Solicitation Concepts Workshop. We're going to be going over the Draft Solicitation Concepts document that was posted and answering questions as we go.

For those of you on WebEx, please type your questions in and we'll try and get to them, you know, as we go through the presentation.

So then before we get started, a couple of housekeeping items.

For those of you not familiar with the building, restrooms are located out the door, either to the left or the right. There's a snack bar on the second floor.

And then lastly, in the event of an emergency, please follow the employees from the Energy Commission out the doors and we'll go kitty corner across the street to Roosevelt Park and reassemble there.

We have a sign-in sheet out front. For

1 those of you in person here, you can staple your
2 business card to the sheet, if you'd like. And
3 then we have a diversity survey which has been
4 distributed to those in the room. You can also
5 go online to the SurveyMonkey link that's here.
6 And for those on WebEx, we'll be sending -- did
7 we send it? We'll be sending that to you. So if
8 you'd please fill that out, that helps us.

9 So public comments will be limited to
10 three minutes per speaker. And just a reminder
11 that any comments made during this workshop could
12 be -- or will be made part of the public record
13 for this proceeding.

14 Here's our meeting agenda we're going to
15 try to stick to, so we'll start with the
16 presentation of the draft concepts, take a lunch
17 break at noon, and then continue. Near at the
18 end of the presentation, we will have more time
19 for questions. But as I said, we welcome
20 questions as we go through each of these
21 concepts. And then at the very end, we'll have
22 an opportunity for public comments. So those of
23 you who would like to make extended comments in
24 general are welcome to at that time.

25 So the Energy Commission is committed to

1 taking steps towards broadening the pool of
2 applicants to our various programs, especially
3 the underrepresented groups, disadvantaged
4 communities and small businesses. And this
5 commitment is a continuing effort to diversify
6 the participants in Energy Commission programs to
7 help ensure equitable access to Energy Commission
8 funding, create jobs, provide economic stimulus
9 in underrepresented and disadvantaged
10 communities, increase competition, and ensure the
11 best opportunities are identified and funded, and
12 also to ensure that local needs are identified
13 and addressed.

14 So let's go ahead and jump right in.

15 So the available funding expected for the
16 next solicitation is \$110 million. This is
17 subject to future appropriations through the
18 legislature and the ARFVTP investment plan
19 funding. This is our normal process. So up to
20 \$22.6 million is expected for the first initial
21 batch of stations coming out of the next
22 solicitation.

23 And please raise your hand if you have a
24 question. We'll stop and address it then.

25 So some definitions for the concepts.

1 We're using a tranche to describe the entire
2 number of stations that would be proposed by a
3 given applicant. And then a tranche will be
4 divided into batches of stations. So a batch of
5 stations describes, you know, the stations that
6 have been approved and are in progress at any
7 given time. And the initial batch of stations
8 would be the first set. Subsequent batches are
9 called subsequent batches. So the initial batch
10 of stations at the time of the application, we're
11 going to require an address for each of those.
12 And this isn't telling you how many we need.
13 This is give us your application, tell us how
14 many stations in the batch.

15 And for -- so go ahead. So we have a
16 question in the room.

17 Please tell us who you are. We have a
18 court reporter here today and so she's going to
19 be recording everything to make it easier for us
20 to search. It will be posted so that everybody
21 can see the transcript like that. So please say
22 who you are. And then if you can give her a
23 business card at some point, then we can have the
24 -- everything attributed to the right person.

25 So go ahead, Wayne.

1 MR. LEIGHTY: Hi, Phil. It's Wayne
2 Leighty with Shell Hydrogen. A couple clarifying
3 questions on this terminology and the intent, if
4 I may please?

5 In most of the Solicitation Concept, I
6 understand that a single applicant would propose
7 a single tranche. In one place it used plural,
8 as if maybe a single applicant would propose
9 multiple tranches. Could you clarify the intent
10 that there's a single tranche from each
11 applicant?

12 MR. CAZEL: Yes, your take is correct.
13 Each applicant will apply for a tranche. So if
14 we used tranches, you know, we were referring
15 maybe to the whole solicitation, having a number
16 of tranches, one from each applicant.

17 MR. LEIGHTY: A quick follow-up, if I
18 may?

19 So then on batches, I understand in some
20 places there's no limit on the size of a batch
21 but that the initial batch may be constrained by
22 the funds currently available, \$22.6 million, and
23 by the single applicant cap. So generally, I'm
24 wondering if there is a constraint on the size of
25 an initial batch?

1 MR. CAZEL: Yeah. I have a slide coming
2 up in a few that discusses the single applicant
3 cap. And so based on the funding that we think
4 we're going to have, the \$22.6 million, that
5 would limit the single applicant cap to like
6 seven-point-something million for that initial
7 batch.

8 MR. LEIGHTY: Thank you.

9 MR. MCCLORY: Hello. This is Matt
10 McClory with Toyota. A question on the funding
11 allocation.

12 The \$110 million, is that understood that
13 that's the definition of the estimated amount
14 available under the AB 8 statute per the joint
15 report or is that when your statement was,
16 regarding the legislative approval, was that also
17 including other funds that are not part of AB 8?

18 MR. CAZEL: The \$110 million is speaking
19 just to the funds that are available in the AB 8
20 program through the end of the program. So in
21 addition to that being out there, every year we
22 have to wait for that, you know, for that
23 portion, for the \$20 million that we expect each
24 year, to actually be designated and approved for
25 our program. But the \$110 million is what we're

1 expecting based on the AB 8.

2 MR. ELLIS: Steve Ellis with American
3 Hondo. So I want to come back to your opening
4 statement, so maybe this question is just about
5 process. Which do you want or prefer as you go
6 through? Do you want to pause and then take
7 questions on maybe the part that you covered and
8 introduced? Do you want to go all the way
9 through it and wait until the end? I just want
10 to better understand, I guess, what the rules of
11 engagement would be, so that we know, at least
12 have a sense if we can take it off in pieces of
13 wait until the end?

14 MR. CAZEL: There are some slides that
15 tie together and may explain a certain concept
16 better than, you know, going page by page and
17 trying to take questions. So if we get to
18 something like that, I'll say wait. But you
19 know, in general, if you have a question, raise
20 it right away because it's easier to discuss
21 while it's right there.

22 MR. ELLIS: Perfect. Thanks.

23 MR. CAZEL: So can you come to a
24 microphone please? Oh.

25 MR. BONNER: Hi. Brian Bonner with Air

1 Products.

2 Has the CEC considered how the current
3 structure of the solicitation may actually
4 constrain station sites if they are not awarded
5 in the first batch of stations?

6 MR. CAZEL: That's a good question. We
7 tried to look at -- you know, we tried to give
8 the flexibility in the batches so that, you know,
9 an applicant can propose however many stations
10 they think they need in a batch. And whether
11 that's limited by the number of addresses
12 available or not, you know, is something we
13 wanted to give the flexibility to, to the
14 applicant themselves.

15 Does that answer the question?

16 MR. BONNER: Yeah. I was more getting at
17 if you have a station owner or location that is
18 interested in developing a fueling station site,
19 they may get delayed for an extended period of
20 time for that opportunity to install a station.
21 And, I mean, is there a negative implication to
22 that in terms of developing infrastructure, you
23 know, within the network?

24 MR. CAZEL: I think the easiest way to
25 say it is our initial batch, we want the

1 addresses. For future batches within the
2 tranche, those addresses will come later. So if
3 there's a station that's going to take longer to
4 get ready, that would be one that you'd want to
5 put in a later batch. Because then you don't
6 have to give us that address and start officially
7 working on it until a later date. But the
8 initial batch, we want stations that are ready to
9 go and have an address that can be -- that you
10 can start developing right away.

11 If I'm stumbling at getting at the
12 question, then send us something to the docket
13 kind of outlining your question more and that
14 will give us something in writing that we can
15 address.

16 MR. MCCLORY: A question. This is Matt
17 McClory with Toyota.

18 Could you kind of maybe clarify a
19 procedural or a process, at least on a high
20 level, on comparing how solicitations went
21 through a notice of proposed awards, who the
22 tranches and the batches would be handled? Would
23 the idea be that the station developer, I think
24 as it's articulated, is going to submit a plan
25 for a total number of stations and highlight what

1 would be the first batch? Is the idea of a
2 notice of proposed awards, would it also identify
3 the applicant's tranche plan or will it just be
4 discussing what the batch award would be at that
5 time?

6 MR. CAZEL: So we're envisioning the
7 notice of proposed awards to say how many total
8 stations in the tranche were proposed and
9 awarded, but then to only name that initial batch
10 with addresses. We're thinking we'll go out with
11 subsequent NOPAs or revised NOPA that has the
12 next set of addresses for the next batch as we go
13 through, you know, as we go through the years and
14 get more funding and roll out more batches.

15 So that's a little bit of what's on this
16 slide. So, you know, the Energy Commission
17 business meeting will approve the tranche and
18 then only the initial batch will be encumbered
19 based on the funds that are available at that
20 time. And then each different batch after that,
21 each subsequent batch, will be authorized
22 separately.

23 Okay, I'll just keep going.

24 So subsequent batches will be authorized.
25 And this will be one batch at a time for each

1 applicant. And it will be a first-come-first-
2 served basis. And the requirements for
3 requesting to be able to start on your next batch
4 and to receive approval for the next batch are
5 these bullet points here. So, you know, the
6 building approval is received for the prior
7 stations within 18 months. The stations are open
8 retail in the prior batch or they're expected
9 and, you know, reasonably underway so that
10 they'll be open within 30 months. The funding is
11 available to us to award to applicants. And
12 critical milestones one and two are met for the
13 new batch, and those critical milestones are the
14 standard ones that were in the last GFO. It's
15 having the meetings with a AHJ having site
16 control, and I have those laid out in the later
17 slide, as well.

18 And then, also, the station locations for
19 the new batch have to be ready to go and they
20 have to be in eligible areas.

21 So then as far as the award amount per
22 batch, we will use the dollar per kilogram for
23 the trance and do that math to figure out how
24 many kilograms are in the batch. And then the
25 award for the batch will be based on dollars per

1 kilogram for the batch.

2 MR. LEIGHTY: Hi. It's Wayne, Shell
3 Hydrogen. Maybe this is premature but a
4 clarifying question also.

5 I saw, in the scoring criteria, two forms
6 of cost competitiveness, I don't remember the
7 exact term, one on dollars per station, one on
8 dollars per kilogram capacity. I thought I also
9 read -- and so my first question is whether those
10 are parameters that the applicant specifies,
11 here's a dollar per station and a dollar per
12 kilogram capacity the applicant is requesting?
13 That's my first question.

14 The second one is I thought I also saw a
15 place where the Energy Commission may specify a
16 dollars per kilogram capacity. Is that a
17 parameter the Energy Commission would specify
18 functioning something as a funding cap?

19 Thank you.

20 MR. CAZEL: Yeah. I'm not sure where you
21 saw that the Energy Commission would specify a
22 dollar per kilogram. Our intent is to look at
23 the applications as they come in, do the math,
24 figure out, you know, what is the dollar per
25 kilogram that is the ask, and then use that as

1 part of the scoring, like you said, to figure
2 out, you know, the efficiency of the use of the
3 funding.

4 If we get to that later and it does come
5 up, bring it up again.

6 MR. LEIGHTY: Thank you.

7 MR. LEVIN: Jaime Levin with CTE, Center
8 for Transportation and the Environment.

9 Since you're going to be evaluating on
10 cost effectiveness for the tranche, how is it
11 that -- and I didn't see this so maybe I missed
12 it in the document, but how are you going to
13 evaluate the probability of the applicant
14 fulfilling the entire tranche since you're going
15 to be evaluating cost effectiveness on how many
16 stations over the tranche are going to be built?

17 MR. CAZEL: Yeah. That's a good
18 question. We always try to look at what's the
19 strength of the applicant and how strong is their
20 plan? Does it seem reasonable? Is their
21 schedule reasonable? Do they have, you know,
22 experienced partners? All of those things go
23 into deciding, is this, you know, a good get for
24 the state to spend money on. And so those types
25 of things, we'll look at can they really build

1 this many stations based on what they've told us
2 about their plan to get there?

3 So this is just an example, kind of made
4 into a table that came out of the document. So
5 an example, number of stations in a batch could
6 be ten. The capacity per station, 500 kilograms
7 per day. And then dollars per station proposed.
8 And the math comes out to \$10 million for this
9 batch. So just a simple equation. The math
10 works the same if you use dollars per station or
11 dollars per kilogram to get to the \$10 million.
12 Our intent with using the dollars per kilogram
13 is, you know, to provide for stations that are
14 different sizes and different batches, just so
15 that we don't have a dollar per station with
16 station sizes being variable. But this is not
17 what we're expecting everybody to follow. This
18 is just an example. A batch could be any number
19 of stations.

20 MR. MCCLORY: Question, maybe just an
21 administrative question.

22 Is the presentation you're sharing going
23 to be available on the docket?

24 This is Matt McClory with Toyota.

25 MR. CAZEL: Yes. Yes, we'll post the

1 slides. Some of them have web links for things
2 that we'll reference. And then at the end
3 there's a whole list of all of the references
4 that we use for the solicitations, so they'll be
5 posted for everybody to have.

6 MR. ELLIS: Steve Ellis with American
7 Honda.

8 So when I see this and I think about my
9 years of experience with government procurement,
10 I always think about trying to procure something
11 with the lower bidder wins, so to speak. When I
12 look at this metric it just, it causes me a bit
13 of concern because I don't understand how it
14 might be weighted, this score or in context of
15 procuring stations, given the fact that you can
16 also have other metrics that go beyond just the
17 lowest possible.

18 So talk a little bit about that and then
19 what -- just more detail on intent of this
20 address evaluation in the scheme of the overall
21 procurement?

22 Thank you.

23 MR. CAZEL: So the cost per station and
24 the cost per kilogram come into scoring under the
25 budget portion. And so when we get to that part,

1 you'll see that we've increased the weight of the
2 budget, the importance and so the cost to the
3 state, you know, is weighted heavier than it has
4 been. But then also there's station performance,
5 you know, applicant experience, all of those
6 things will go into scoring, as well.

7 So does that answer your question
8 somewhat?

9 MR. ELLIS: Somewhat. But I guess if
10 you're saying a later site is actually going to
11 get into the, and I can't remember, the actual
12 weighting of it, that's fine. I'll wait until
13 then. But you know, under typical procurement
14 rules, you know, low bid wins. So that's why
15 don't -- I want to just better understand how
16 other metrics, call it quality versus quantity,
17 will really play out? So I'll wait until we get
18 further along and then see if this comes -- if my
19 question is answered.

20 MR. CAZEL: Yeah. It always -- and
21 there's a different weight for each metric, but
22 everything does get weighed.

23 MR. LEIGHTY: Hi. Wayne with Shell. May
24 I use this example to just reconfirm my
25 understanding?

1 If in this hypothetical example this were
2 an applicant's initial batch, \$10 million exceeds
3 the single applicant cap. So how would you
4 handle that proposal on an initial batch, if I
5 understood correctly, that is too big, too --
6 yeah? Thank you.

7 MR. CAZEL: Yeah. So on purpose, we
8 tried to use an example that you couldn't fit in,
9 you know, the round peg in the square hole.

10 MR. LEIGHTY: Yeah.

11 MR. CAZEL: So if this were an actual
12 proposal and our cap was lower than this, we
13 would come back to the applicant and say, hey,
14 here's the cap your stuck with, can you build X
15 number of stations for X number of dollars? So
16 there would be some give and take. And there is
17 some language in here that will come up on a
18 slide later that talks about that a little bit.

19 MR. LEIGHTY: Thank you. Thank you.

20 MR. CAZEL: Okay. So eligible costs,
21 reimbursable an match will be limited in the next
22 solicitation to equipment only. And so the other
23 expenses that have always been counted and
24 accounted for, you know, the labor fringe,
25 travel, won't be eligible, even as a match, for

1 the next solicitation. So it will simplify the
2 bookkeeping. And then it limits, you know, what
3 we need to process to equipment only.

4 And then along with that, match funding,
5 so the other side of what's eligible. So it
6 would be 50 percent grant funding, 50 percent
7 match funding, but again, for the equipment costs
8 only.

9 MR. BONNER: I have a question. Brian
10 Bonner from Air Products again.

11 How is a situation where you have one
12 company that may have an equipment division as a
13 subsidiary or let's say a division of an existing
14 company that actually sells the equipment that
15 would include, you know, the imputed labor,
16 overhead and other costs that would support that
17 total equipment price and they may sell that to
18 another company? How would that be handled, I
19 mean that type of situation, from a cost sharing?

20 MR. CAZEL: What we'll look for is the
21 bottom-line cost of that piece of equipment to be
22 delivered. So you know, if you're buying it from
23 Home Depot, we don't go to Home Depot and look at
24 what labor went into getting that to the shelf.
25 Same thing here. You know, the equipment

1 producer, whatever it takes for them to get that
2 equipment to the state where it's ready to
3 deliver, that's the cost we'll look at. So we're
4 trying to get out of the business of going into
5 all of the details on the labor and the fringe
6 and everything that goes into the equipment. We
7 just want to see, what's the cost of the
8 equipment? We'll split it with you 50-50 and use
9 that as our benchmark, rather than all of the
10 backup.

11 So for a company that, like you're
12 saying, builds their own internal equipment,
13 they'll have to justify it to the state auditors,
14 how they get to that value. But as far as
15 judging and using it in the solicitation, we're
16 going to use the stated amount of the equipment
17 value.

18 MR. BONNER: Okay. So if you did have
19 like engineering and overhead and, you know,
20 subcontractor work that would be involved in that
21 equipment transaction, that can be included in
22 terms of the cost?

23 MR. CAZEL: It would be rolled into the
24 cost of the equipment, yes.

25 MR. BONNER: Okay. Thank you.

1 MR. BUTLER: John Butler, Energy
2 Commission.

3 Just to elaborate on that, so essentially
4 it would be, if it's less than an arm's length
5 transaction between these companies, then it
6 would be based on the cost of goods sold. So
7 that's an accounting procedure of all the costs
8 that go into building that equipment. That will
9 be what our auditors are looking for.

10 So the value claim under the agreement
11 and then split 50-50 would be on the cost of
12 goods sold.

13 MR. LEIGHTY: Hi. Wayne with Shell.
14 Just a suggestion to define equipment. And I'm
15 sure you can get some input on where to draw that
16 line.

17 Thanks.

18 MR. SLOTH: Mikael from NEL. Just to add
19 to that, equipment, is it only rated to hydrogen?
20 For instance, there are components in the civil
21 works construction where you're also procuring
22 equipment, like (indiscernible). But is that
23 equipment or materials?

24 MR. CAZEL: I would suggest, as Wayne
25 said, you know, let's send something into the

1 docket describing what we should consider for
2 equipment. I mean, we of equipment as something
3 that comes on a truck and is unloaded. But as
4 you're saying, there's stuff that's onsite that
5 could be considered or should be considered
6 equipment as well.

7 MR. ELRICK: Does this change -- Bill
8 Elrick, California Fuel Cell Partnership.

9 Does this change the lineup, the hydrogen
10 funding and how equipment is dealt with versus
11 labor or travel, et cetera, more in line with the
12 other fuels and how funding is distributed under
13 ARFVTP? Is this more of an alignment move for
14 the rest of the program?

15 MR. CAZEL: I'm not sure. I'm not sure
16 if other parts of the agency are going this way
17 or not.

18 MR. BUTLER: John Butler again.

19 So I would say, no, this is not an
20 alignment. This is unique to hydrogen and this
21 solicitation. And again, this was in an attempt
22 to keep things simple and make sure -- as simple
23 as possible and make sure that we're
24 appropriately incentivizing, you know, hydrogen
25 stations and supporting them while balancing it

1 with that simplicity of limiting it to equipment
2 purchases.

3 MR. MCCLORY: All right. One more
4 question. This is Matt McClory with Toyota.

5 Does the Energy Commission have an
6 establish for the number of stations that the
7 \$110 million funding could contemplate? And the
8 reason I specifically bring that up is in regards
9 to the joint report from December, it seems it
10 infer or forecast that up to 46 stations could be
11 funded with \$110 million. But based on the cost
12 share, that seems to be well under, you know,
13 half of, I think, our projection, that it should
14 be closer to 100 stations potential. Could you
15 provide some clarification of comment?

16 MR. CAZEL: So the joint AB 8 report used
17 these numbers to support our goal to reach the
18 100 stations that AB 8 calls for. So that's
19 where that math kind of crosses where, you know,
20 what we're presenting here. So if we get more
21 than the 47 or so stations and exceed the 100
22 station goal of AB 8, we're happy with that as
23 well.

24 You know, again, these are concepts that
25 are out there. And based on what we heard, you

1 know, from the workshops over the last year-and-
2 a-half, this is where we think we need to go to
3 reach those goals.

4 MR. LEIGHTY: Hi. Wayne from Shell.

5 Just to follow on to Matt's question and
6 make sure I understood, the interpretation of the
7 authorization under AB 8 is that this funding and
8 GFO could yield a total of more than 100
9 stations? Is that what I understood?

10 Or said another way, would you anticipate
11 calling -- cutting off, calling an end to this
12 funding when 100 stations are reached?

13 MR. CAZEL: No. We don't intend on
14 stopping at 100 because that's a goal. We intend
15 to spend the funding that's allocated for the AB
16 8 program to get as far as we can.

17 MR. MCCLORY: Question. Matt with
18 Toyota.

19 As a follow-up, is it fair to assume that
20 all of the \$110 million is used for match -- I'm
21 sorry, grant funding for every single station or
22 is there a whole back that the CEC is going to
23 deduct from the \$110 million so it's not actually
24 available for grant funding? I just -- we want
25 to kind of understand, what's the potential

1 available as it relates to the number of stations
2 possible?

3 MR. CAZEL: We don't intend to hold
4 anything back within our program but we are
5 dependent on every years' allocation from the
6 legislature and then the process that we have to
7 go through with our investment plan. So if that
8 number isn't exactly \$20 million a year and the
9 \$110 million turns out to be a different number,
10 it wouldn't be because we were, you know,
11 consciously holding something in reserve for
12 another use.

13 Okay, so here's the single applicant cap
14 discussion. So 33 percent of available funding
15 at any given time is the single applicant cap.
16 And the example we discussed a little bit
17 earlier, using the \$22.6 million that we're
18 expecting to be available immediately for the
19 initial batch, that would limit the first batch
20 of stations to \$7.5 million, based on those
21 numbers. So every year, you know, every July
22 1st, we expect to get our, you know, next
23 allocation of funding. So this could go up \$20
24 million every July 1st. Today, we have the \$22.6
25 million available.

1 MR. BONNER: Excuse me. Brian Bonner
2 with Air Products. Sorry I didn't get this in,
3 in the last section.

4 But in terms of the match share funding,
5 which would be in the form of cash or in-kind
6 contribution, can that match share funding
7 include upstream production and distribution
8 investments from a supplier that provides
9 hydrogen to the retail fueling stations?

10 MR. CAZEL: I think it would go -- I
11 think if we go back to what John Butler was
12 saying, it's the cost of goods that is declared
13 as the cost of the equipment. So however you
14 arrive at that number, regardless of what the
15 upstream input is, we're going to look at that.

16 MR. BONNER: Yes. Yeah, I understand
17 that. But then there's also that tie, you know,
18 to the capital efficiency metric of a fueling
19 station in terms of dollars per kg dispensed,
20 which is only a component of the entire supply
21 chain that's actually serving that retail fueling
22 station. Because there is upstream investment
23 and capital efficiencies that could differ
24 depending on how hydrogen is applied to those
25 stations. And not only capital but also the

1 energy component, as well, which could vary quite
2 considerably.

3 MR. CAZEL: I think some of those other
4 aspects would be scored in the other areas, other
5 than budget. So we would have a cost of the
6 goods for the equipment as part of our criteria.
7 And then there are other scoring bullets in other
8 criterion that cover, you know, the efficiency of
9 the station, the supply, the reliability of that
10 supply. Does that make sense? Okay.

11 So then the next solicitation is will
12 also have a pre-ordained reimbursement for
13 different stages for the grant funds, so stages
14 one through five, depending on the criteria that
15 are reached, and then the percentages that are
16 eligible for reimbursement at those different
17 stages.

18 So stage one, the critical milestones are
19 met. The design plans are completed. The
20 equipment is ordered. We can process an invoice
21 for reimbursement on the equipment for up to 25
22 percent, so that could be a down payment for the
23 equipment. And then each stage after that, you
24 can see different progress needs to be completed.
25 And then the eligible reimbursement percentage

1 goes up.

2 One the station is open and operating, up
3 to 90 percent can be reimbursed. And then the
4 final ten percent is essentially the retention,
5 which will be reimbursed after completion of the
6 data collection at the end of the entire project.

7 MR. LEIGHTY: Wayne from Shell again. My
8 apologies. This is also going backward just a
9 little bit.

10 I'm wondering, I generally interpret the
11 change in eligible expense shifting to equipment
12 only being a simplification. I'm wondering what
13 simplifications in administering a grant
14 agreement go along with that?

15 For example, in current grant agreements
16 there are some requirements around
17 subcontractors, labor and wage rates, et cetera.
18 Do you anticipate that without those components
19 of expenditure included in the eligible expense,
20 those requirements and administrative aspects are
21 eliminated or continue? Is it -- are you able to
22 comment?

23 MR. CAZEL: We envision this as
24 eliminating that need. So you know, from the
25 applicant and the recipient side we've heard, you

1 know, over the last year-and-a-half, you know, if
2 we simplified our requirements it would simplify,
3 you know, the recordkeeping on both ends. And
4 so, you know, we're hoping that some savings will
5 come out of that.

6 MR. LEIGHTY: Thank you.

7 MR. BUTLER: John Butler.

8 So just to clarify on that, I mean,
9 there -- it's still envisioned that there will be
10 administrative costs that are incurred,
11 obviously, with the development of those
12 stations. Those will still need to be borne by
13 the applicant. So I just want to be clear on
14 that. Still, the reporting is required. You
15 know, certainly there is labor associated with
16 that. But that's not included in our budgets
17 and, therefore, not tracked according to the
18 grant itself. But the scope of work will have
19 those requirements in there and those will have
20 to be fulfilled.

21 MR. LEIGHTY: Thank you.

22 MR. LEVIN: Just so I -- Jaime Levin from
23 CTE.

24 Just understanding the retention on this,
25 so if I claim \$1 million for a station for

1 equipment and you're paying me \$500,000, so
2 you'll pay me 25 percent of the \$500,000 in the
3 first stage, up to 90 percent through stage four,
4 and then the last 10 percent I'll get in stage
5 five? So there isn't -- like when I submit an
6 invoice, you're not going to take 10 percent off
7 that invoice, you're going to pay 25 percent of
8 the total amount? I just want to make sure
9 because when I first read this, I thought you
10 were going to hold back 20 percent, 10 percent
11 retention plus only up to 90 percent through the
12 project.

13 MR. CAZEL: No. So the stage four 90
14 percent assumes the 10 percent retention. And
15 whether that's withheld from each stage or
16 whether it's withheld from the final stage, I
17 don't think we've solidified yet. We've done it
18 both ways in the past, where we've taken ten
19 percent off each invoice. And then we've done it
20 where we pay invoices in full before we reach the
21 point where we withhold the final percentage.

22 MR. LEVIN: Okay. Sorry. If you say
23 stage one at 25 percent of total and you take 10
24 percent off of that invoice, you're going to, at
25 the stage four, they -- we will only have 80

1 percent, if I read that correct.

2 MR. CAZEL: Yeah, I see where you're
3 getting that. So we're saying eligible
4 reimbursement in one hand, and on the other hand
5 we're saying eligible to be invoiced, which may
6 then be reduced by ten percent. Yeah. Thanks.

7 MR. SLOTH: Mikael from NEL Hydrogen.
8 Are there any specific background for the
9 change in the from three to five years of data
10 collection? I know that throughout the document
11 it's stipulated that with the change in the LCFS
12 requirements, that that also have caused some of
13 the changes under the program, for instance the
14 lower funding rate, and also no funding for O&M.
15 But why then the increase in administrative
16 efforts on collecting data for five years?

17 MR. CAZEL: Well, of course, we'd like to
18 get data for ten years. We'd love to get data
19 for the life of the stations. That helps, you
20 know, it helps our program to, you know, not only
21 justify, you know, the good that we're doing, but
22 it also helps, too, you know, for planning and
23 those sorts of things. So we, you know, we're
24 going to ask for five years of data collection
25 regardless of whether you're getting O&M. Before

1 we had, you know, the three year O&M tied to the
2 three year data collection.

3 You know, this is a concept that we're
4 hoping we can fulfill to get the data. Now, you
5 know, our hope is the data will become more
6 automatic and require less labor and less cost
7 for recipients to actually comply with.

8 So along with the reimbursement stages,
9 the evidence that we want for each invoice has
10 kind of progressed over the years as well. So
11 photographs and serial numbers of equipment and
12 parts will be required as backup for each stage.
13 The only place this doesn't make as much sense
14 would be for stage one. So if the equipment has
15 just been ordered, sometimes it's kind of hard to
16 get a picture of something that doesn't exist
17 yet.

18 So for stage one, you know, we wouldn't
19 require the photographs and serial numbers. But
20 otherwise, you know, we need some solid evidence
21 to help us justify that, you know, this is moving
22 forward, the equipment exists and it's on its
23 way, so that we can pay for the invoices as they
24 come in.

25 And then as Eddie just brought up, no O&M

1 will be offered for this next solicitation. And
2 our reasoning is that the LCFS program, beginning
3 in January, will allow stations to generate the
4 hydrogen refueling infrastructure credits. And
5 we expect that this will help to support the
6 stations in lieu of the O&M. And I'll talk more
7 about the LCFS in a little bit also.

8 The critical milestones, one and two are
9 the milestones that were in the last
10 solicitation, so meeting with the local
11 authorities to discuss permitting issues and
12 establishing site control will be required prior
13 to application. So those will be, especially for
14 the initial batch because we want those addresses
15 for the initial batch, that milestone one and two
16 has to be met. And then for subsequent batches,
17 one and two will have to be met before the batch
18 addresses are given to the Energy Commission for
19 approval.

20 MR. LEIGHTY: Hi. Wayne with Shell.
21 Just a comment.

22 You might consider the sequencing of
23 milestone one and three. Often, meeting with a
24 fire marshal is a prudent thing to do in advance
25 of meeting with the AHJ as they look to each

1 other.

2 MR. SLOTH: Mikael from NEL.

3 In the definition of milestone two, it
4 said that site control could be in the form of a
5 lease agreement. But later in the document, it
6 only indicates that you need a support letter
7 from the site owner. Is that a letter to confirm
8 some sort of site control in the form of a lease
9 or, basically, can one apply without having
10 signed a lease contract?

11 MR. CAZEL: Let me first apologize for
12 calling you Eddie earlier, Mikael. Nobody waived
13 their arms at me.

14 For milestone two, we want a signed,
15 executed lease. So we've kind of ramped up to
16 this based on sites that have been lost because
17 of letters of intent with the owner, that kind of
18 thing. So the stronger, you know, more sure is
19 to have some sort of lease that's executed that,
20 you know, it could be contingent on funding, but
21 we want something that's a document that's more
22 of a legal document that ties up the property.

23 So then for the milestones three, four
24 and five, the intent is to make sure those are
25 met before any reimbursement goes forward on the

1 stages of reimbursement. So the meeting with the
2 fire marshal which, I do agree, could be combined
3 with the initial meeting for milestone one, we'll
4 look at that. And then meeting to arrange
5 utility connections, we've seen lots of problems
6 with that, so we want that to be something that's
7 done, you know, early on and up front. And then
8 meeting with a hydrogen supplier to come up with
9 a plan to supply the station and to have a backup
10 for hydrogen supply.

11 MR. ZUCK: So proof of that is -- Dwight
12 Zuck, Air Liquide.

13 So proof of that is a signature from
14 these individuals that I have the supplier or the
15 utility company or that you had a meeting or an
16 email?

17 MR. CAZEL: Yeah. It will be something
18 that's written into the scope of work. So as
19 we've done with the milestones in the past, it
20 would be, you know, something along those lines,
21 submitting to the Energy Commission proof that
22 this has happened.

23 MR. CAPPELLO: Joe Cappello with Iwatani.
24 In milestone five, is a contract part of
25 the requirements?

1 MR. CAZEL: It could be. I mean, if
2 there is something less than a contract, you
3 know, we'd love to hear your input as to what
4 constitutes, you know, something that's solid
5 enough that could be relied on.

6 MR. CAPPELLO: Some of the participants
7 are fully integrated suppliers and others aren't.
8 It might be a bit of a conflict.

9 MR. EDWARDS: Dave Edwards from Air
10 Liquide.

11 Regarding milestone number five and
12 meeting with the hydrogen suppliers, particularly
13 on the last points, certainly some concerns about
14 what a contract would look like coming out of
15 that and is a contract required, the timeframe
16 for such supply agreements, and then the
17 renewable aspect of that in order to meet the
18 renewables planning? A little bit of fidelity
19 around those on the requirements for milestone
20 five would be helpful.

21 Thank you.

22 MR. CAZEL: Yeah. I have a slide near
23 the end that kind of reiterates, you know, the
24 hydrogen supply idea. But anything you can give
25 us in writing that lays out, you know, what's

1 important in this kind of contract, what could
2 be, you know, shown would be great.

3 Okay, so the next solicitation will use
4 area classifications to determine the eligible
5 areas for stations to be located.

6 So this is a static map produced by CARB
7 using the California Fuel Cell Partnership input.
8 And it uses the capabilities of CHIT. And
9 there's an electronic version online that you can
10 zoom into. Let me try and go there real quick.
11 Oops. There we go. So CARB has this posted
12 online. You can follow the link that's in the
13 slides. But just to show you that you can go in,
14 zoom in, do street level and look at these areas.
15 And the different colors are related to the
16 capacities that would go in that area. So I have
17 a table in a minute that we'll look at that
18 correlates the map colors with the size of
19 stations that are projected to fit best in these
20 areas. Any area that's in a gray area throughout
21 the state will be considered not eligible for the
22 next solicitation. And this is about -- this is
23 based on a lot of work that's gone into the 2030
24 vision and how to get to 1,000 stations. And so
25 these areas are the, you know, the next projected

1 need in the state.

2 MR. MCCLORY: Question. This is Matt
3 with Toyota.

4 Regarding that map, is there an image
5 that the map would be potentially dynamic going
6 forward into future batches or tranches so that
7 this document could basically be the same
8 document going forward through 100 stations, but
9 even beyond towards the governor's executive
10 order of 200 total? So in other words, can this
11 map be allowed to be updated by the ARB in a
12 process?

13 MR. CAZEL: Yes, that's the intent. This
14 is the current map. And as stations are funded
15 and opened in the different batches the map will
16 be updated to reflect, you know, areas that have
17 had stations go into them.

18 But again, so the colors don't say that,
19 you know, one area has a higher priority than
20 another. It's more related to the size of the
21 station that should fit in a different area, and
22 we'll discuss that. Like I said, there's a chart
23 coming up.

24 MR. LEIGHTY: Hi. Wayne from Shell. A
25 couple follow-on questions, if I may?

1 The updating, the dynamic nature updating
2 of the area classifications as the network grows,
3 I understand the intent and it seems to be an
4 elegant solution. I wanted to test one
5 implication related to the intent around batches.

6 Is it correct that it could be a station
7 developer awarded a tranche is progressing
8 subsequent batches which, with an update to the
9 area classification, then change, then become
10 classified as a different area, that developer
11 would need to shift their plans?

12 MR. CAZEL: Yeah, that's possible. I
13 don't foresee that we would go look backwards and
14 say now that that spot has been filled, something
15 has changed. But definitely going forward for
16 the future batch, for the subsequent batch
17 stations, they should conform to the new calling
18 on the map for, you know, what fits in what
19 place, so that we can get the right size.

20 MR. LEIGHTY: THANK YOU. And a follow-
21 on, if I may?

22 The coverage and capacity growth areas
23 are relatively small, rather precise. Of course,
24 the shading has a boundary at some point. I
25 think I read in the Solicitation Concept that

1 there's some prerogative that could be exercised.
2 An applicant could give a rationale for a
3 location being a different classification than
4 shown on the map. Could you explain that
5 further?

6 MR. CAZEL: Yeah. Let me see if I have
7 that slide coming up soon? Yeah. Let's hold on
8 to that for a minute because I'm going to discuss
9 that a little bit --

10 MR. LEIGHTY: All right.

11 MR. CAZEL: -- coming up.

12 MR. LEIGHTY: Thank you.

13 MR. SLOTH: Mikael from NEL.

14 This may be coming back to the discussion
15 on cost effectiveness because even the document
16 had stated the dollar per capacity or dollar per
17 station but not stated which one of those
18 parameters in the scoring will be most important.
19 So are you looking for many smaller stations or a
20 few large stations? Looking at the map, of
21 course, there are more areas to put in small
22 stations. But maybe some guidance on that would
23 be good.

24 MR. CAZEL: Yeah. So the map calls for
25 certain size stations in certain areas. The way

1 that the scoring will use the dollars per station
2 and the dollars per kilogram doesn't necessarily
3 follow the way we've done it in the past where
4 bigger may not be better. We want the best fit
5 for the right spot. So in the scoring, we use
6 both of those. You know, they may be equally
7 weighted. They may just be used as a guide.

8 For the actual funding, we want to rely
9 on dollars per kilogram because that's closer to,
10 you know, matching the size of station that we're
11 paying for.

12 MR. BROOKS: Steven Brooks, Energy
13 Solutions.

14 I know we have these priorities on the
15 list here, some of which, I'm just kind of
16 curious about how many, I mean, I know it's
17 difficult, stations you're planning per category,
18 if you will? For example, I'm envisioning
19 connector designation based on prior GFOs only to
20 be including a few sites. I think it would help
21 developers be able to target, you know,
22 especially some of those, you know, growth
23 capacity. How many, really, stations are we
24 talking about in that area to achieve that? And
25 that will allow us to focus on other areas and

1 not do extra work, I guess redundant work, I
2 should say.

3 MR. CAZEL: Yeah. That's a challenge for
4 us, as well. What we've heard in the workshops
5 over the last year-and-a-half is leave us alone,
6 let us put the stations where we know they
7 belong, and quit telling us exactly where to put
8 things. So this is an attempt to say here's the
9 available areas. Again, the colors are not
10 necessarily a priority, they're a size
11 differentiation. So whether a station is in a
12 more urban area that has, you know, higher early
13 use, we want bigger stations there. Of course,
14 the connectors can be smaller and still, you
15 know, be appropriate.

16 So we're trying not to be too
17 prescriptive on the locations, other than here's
18 a suggestion of how big of a station you should
19 probably build if you're going to apply in this
20 area.

21 MR. BROOKS: Sorry, just one follow-up.

22 MR. CAZEL: Sure.

23 MR. BROOKS: So I get that. And
24 appreciate that. But I still think it would be,
25 at the end of the day, how many connectors are we

1 really talking about, just as a guidance? It can
2 be anywhere we, you know, feel fit in those areas
3 but I think at the end of the day, we're only
4 looking for so many stations based on those
5 category types. I think it would just provide
6 some direction.

7 MR. CAZEL: Okay. Thanks.

8 Okay, so then this is just information
9 about how to contract -- how to contact CARB and
10 that, you know, how the map will be updated, how
11 to use it. You can direct questions to Andrew
12 Martinez. He is happy to work with you and make
13 it a better map.

14 So then the other concept that will be
15 integrated into the next solicitation is the use
16 of the HySCapE. So the solicitation will use the
17 same HySCapE model and the same -- in the same
18 way that it's used for the LCFS program. So it
19 won't be a different version, there won't be
20 different inputs, it will be exactly as has been
21 presented by LCFS?

22 Any information that's submitted to the
23 Energy Commission as part of the application will
24 be considered confidential. And then each
25 station's capacity needs to meet the requirements

1 of a station classification from Table 1, which
2 we'll go to.

3 So then the station classification table
4 incorporates the minimum 24-hour throughput for
5 each fueling position, and also for the total
6 station throughput. So that's columns two and
7 four. And each fueling position -- I have a
8 question already?

9 MR. BONNER: Yes. Brian Bonner from --

10 MR. CAZEL: Oh. Go ahead.

11 MR. BONNER: -- Air Products again.

12 In regards to the HySCapE tool, I mean,
13 is there any degrees of freedom in regards to the
14 station deliveries to limiting it to one delivery
15 per day? You know, considering that there are
16 constraints in terms of the hydrogen supplier to
17 stations that may provide limited access into
18 stations in terms of the size of equipment that
19 could actually deliver into the various sites?

20 MR. CAZEL: Yeah. All of those inputs
21 are built into HySCapE. So the assumptions of
22 how many deliveries and the time it takes for
23 that delivery is built into the model. So what
24 we want is an output that uses the model as is
25 without changing everything and putting in

1 different variables.

2 MR. BONNER: But if there was a scenario
3 where you had let's say two deliveries in a given
4 day, can you just assign some downtime or, you
5 know, some derate, you know, for that time period
6 that would accommodate that second delivery?

7 MR. CAZEL: Yeah, that I'm not sure.
8 You'd have to contact the LCFS program. I have
9 their contact information in here. But whatever
10 is submitted to LCFS in order to get the HRI
11 credits and to get into that program is the same
12 input/output that we want to use in the
13 solicitation to judge the station capacity.

14 MR. BONNER: Thank you.

15 MR. LEIGHTY: I've got one more question.

16 MR. CAZEL: Oh, go ahead.

17 MR. LEIGHTY: Hi. Wayne with Shell.
18 Just a suggestion for clarification.

19 If I understood correctly, the intent is
20 to match the use of HySCapE in the LCFS program.
21 Maybe the clarification that the station
22 throughput is at full state of charge. The
23 HySCapE model produces two capacities, one
24 including partial state of charge and one not
25 including partial state of charge. And then the

1 LCFS program, the capacity at full state of
2 charge, not including the partial state of
3 charge, is what is used. Thank you.

4 MR. MCCLORY: A question, and maybe a
5 comment. This is Matt McClory with Toyota.

6 The Table 1 that's in the document, I
7 know it illustrates some information as a result
8 of the HySCapE model. But I think the concern
9 point is that it's missing design criteria or
10 design requirements as criteria for the stations
11 themselves. And I'm wondering what the
12 thinking -- or perhaps maybe I'm missing it and
13 perhaps maybe it needs to -- I'm asking for a
14 clarification, for example, time between fills
15 and the definition of a minimum dispensed mass
16 and SOC of being 95 percent or better. These are
17 kind of critical metrics from a design
18 standpoint. And the way it's articulated doesn't
19 share that.

20 And so I'm wondering, perhaps I'm missing
21 this, or could you comment on that topic?

22 MR. CAZEL: Yeah. Our intent is to use
23 the HySCapE in exactly the same way as the
24 requirement is through LCFS. And so those
25 criteria that you listed off are part of the

1 requirement for them. So we didn't lay out
2 everything, you know, in our concepts document as
3 to, you know, what that model includes or
4 requires. But our intent is to -- whatever -- to
5 use whatever that model requires as our own gauge
6 as well.

7 MR. MCCLORY: As a follow-up, does that
8 mean that you would contemplate adding the inputs
9 or the assumptions into that model as part of
10 this document? Because the concern point is that
11 it's not -- unless it's defined, it's not even
12 defined, even for LCFS, what the assumptions are
13 clearly as far as the inputs and I think that's
14 where the concern point is.

15 MR. CAZEL: If you could lay that out for
16 us in writing, please, into the docket, then we
17 can look at that and make sure that we're, you
18 know, working equally toward that goal.

19 So we have a question from WebEx.

20 MR. JOHNSON: Yeah. Ian Peden wrote,
21 "Over the life of the station, how long does the
22 LCFS program stay in operation?"

23 MR. CAZEL: So the link that I'm going to
24 put up in a minute has some of that information
25 in it. Let me see, what's the next slide? No.

1 So there is a manual that helps applicants into
2 the LCFS program. It describes, you know, all of
3 the parameters, the timing, the funding. That
4 would be the best place to get that information.

5 MR. SLOTH: Mikael from NEL.

6 Just to follow-up on the HySCapE, in the
7 HySCapE the maximum time between fuelings is up
8 to 249 seconds. So it depends on how many
9 fuelings that are stuffed into an hour. So when
10 I read the table here, is this to be also
11 following the HySCapE and Chevron profile? And
12 if so, why am I then allowed to go to 427 between
13 fuelings? As one could say, you could interpret
14 that as a fueling profile where you do a fueling
15 every seven minutes throughout the day, which
16 would probably not cover the rush hour event.

17 MR. CAZEL: Yeah. So this table is
18 intended to prove a station can move the minimum
19 requirements for the solicitation. So the 427
20 seconds was selected in order to create the 300
21 kilogram per day fueling position. And so if
22 those are put -- if those inputs are put into the
23 HySCapE model and you can prove that the station
24 can do that, then we know you've met the minimum.
25 Beyond that, there will be different inputs for

1 your actual time between fills and what your
2 station is capable of, and that will be used also
3 to determine, you know, the ultimate performance
4 of the station. And those numbers are what, you
5 know, the HySCapE HRI program is asking for.
6 They're not asking for these minimums. But for
7 our purposes, we want to have a run that shows
8 the minimum is proven and then other runs with
9 the actual that show us what the ultimate
10 performance of the station is.

11 MR. SLOTH: So maybe it's worth it to do
12 a comparison with the past two requirements in
13 the previous GFO because such a profile would be
14 very relaxed as it's over a 24-hour period. And
15 if you have 7 minutes between the fills, you
16 would do that in 15 hours, whereas I guess in the
17 previous GFO, you not only had 180 kilo in 12
18 hours, but you also had some rush hour
19 requirements that you probably would not cover
20 with this profile.

21 MR. CAZEL: Yeah. So the -- I don't want
22 to do too much on explaining my understanding of
23 HySCapE but built into HySCapE are those other
24 one-hour, three-hour windows.

25 Okay, so this goes back to -- go ahead,

1 before I go on.

2 MR. ELLIS: Sorry. At the risk of
3 multitasking, so I do also want to raise a
4 question about minimum number of fueling
5 positions. And I want to put it in the context
6 of kind of the real world practical application
7 from standing in the customer's shoes, not
8 necessarily what I would call the math that might
9 align with available kilograms and, you know,
10 things like that. And I say this only because
11 over time, you know, there's been a lot of
12 lessons learned. We've seen individual
13 dispensers where it was called one-to-one. A
14 dispenser equaled one hose and that was applied
15 at one-to-one position. And yet, we've also seen
16 a pathway where possibly there's cost reduction
17 from a dispenser that's more akin to what we know
18 of as a gasoline dispenser with two hoses, two
19 faces, to independent control systems, two people
20 able to operate it at the same time.

21 And I think, you know, this is a change
22 where maybe we can get it right. It's hard for
23 me to grasp as easily an image at a station where
24 possibly we're pushing toward getting the
25 dispenser under a canopy. And we want to

1 eliminate customers having to wait in lines, and
2 so we want more fueling positions that's also
3 aligned with the scale of the capacity of that
4 station.

5 So as opposed to a minimum, could this be
6 suggested or preferred or something like that,
7 less hard and fast? And I'm calling it a
8 question: Why three? Why not four? Because if
9 we're trying to aim to that idea of cost
10 reduction, engaging with dispenser manufacturers,
11 I think they would scratch had and say you mean
12 you want me to build one with just a single face?
13 I can't put gasoline on the other side of it, and
14 it would kind of a waste of space.

15 So that's all I'm trying to get at here
16 is that I don't have the answer, necessarily.
17 But what I do suggest is that you talk with the
18 developers and say what is the best case here?
19 Should we skip three and go from two to four for
20 the purpose of advancing cost reduction, scale,
21 all the things that we're keeping, and customer
22 convenience at the dispenser when we get to these
23 larger capacity stations like that? More of a
24 comment than a question.

25 MR. CAZEL: Yeah. Thanks. Yeah, as

1 minimums here, they do look funny, you know, what
2 you're saying, the three versus four. You know,
3 where our intent is to put something up here
4 showing, okay, we want at least this. You can
5 tell us how it's going to be expanded. But you
6 know, if anyone has any suggestions on, you know,
7 how this can be made better, please, you know,
8 submit something to our docket.

9 MR. LOPEZ: Hello. This is Jorge from
10 Air Liquide. I just had a question, just to
11 clarify, I guess, in terms of equipment and the
12 number of deliveries.

13 So the assumption in the docket that I
14 read was one delivery per day. I just wanted to
15 clarify, is that per fueling position or for the
16 overall station capacity?

17 MR. CAZEL: Again, you'd have to look at
18 the LCFS requirements for how the HySCapE input
19 is used to see exactly. That's -- my understand
20 is per day per station, but you'd have to look
21 that up.

22 MR. MCCLORY: Question. This is Matt
23 with Toyota.

24 On the table where it has the minimum
25 number of fueling positions, is it implied that

1 those are all H70 fueling positions?

2 MR. CAZEL: Yes. Yeah, they're -- we
3 envision having H35 as optional, but those are in
4 addition to what's listed here.

5 Okay, so this is back to the question of,
6 you know, what if a station seems to fit in a
7 place, you know, size-wise that doesn't look like
8 it's in the right spot on the map? And so if an
9 applicant wants to locate a station in a
10 different classification than that's what's
11 called for on the area classification map, then
12 reasonable justification has to be submitted for
13 that.

14 And so just for, you know, a simple
15 example, if the station is classified as, you
16 know, market initiation on the table based on the
17 number of fueling positions and its capacity,
18 that it's being proposed for a market -- that
19 it's not being proposed for a market initiation
20 area on the map, then we want something in the
21 application that contains justification why it's
22 a better choice than what is, you know,
23 specifically called for on the map.

24 So in any case, the proposed station has
25 to be located in an eligible area on the map.

1 You know, we don't want something that is going
2 to try to describe why it should be put in the
3 middle of an ineligible area. But for those that
4 seem to, you know, want to straddle, you know, a
5 given area, as long as we can get some
6 justification as to why it doesn't line up
7 exactly with what's laid out, that's what we're
8 looking for.

9 So then this is the -- I'm going to go
10 real quick to this. This is a link to the user
11 guide for the HRI program, and it also has
12 information on the HySCapE.

13 Phil?

14 MR. ELRICK: Go ahead.

15 MR. ELRICK: If I can go back one? Bill
16 at the Fuel Cell Partnership.

17 With the reference earlier with the map
18 and basically inclusion and exclusion areas, you
19 know, looking back at the concept, one of
20 referencing 2030 and where we're trying to go, as
21 well as having the most flexibility in the
22 system, both in how developers go after sites and
23 how they submit and how CEC reviews, I'd strongly
24 encourage the idea of no exclusion area locations
25 but maybe within the point system, just like you

1 described the ability to maybe reclassify an area
2 to be able to put a site on the map. Because I
3 think that's really important if we're looking at
4 where we want to end up, as well as back to that
5 dynamic map, so more flexibility in the system
6 instead of ever restricting or excluding an
7 opportunity.

8 MR. CAZEL: Go ahead.

9 MR. LEIGHTY: Hi. Sorry. Wayne from
10 Shell again. Testing one other implication.

11 If, as I'm coming to understand it now,
12 if the initial batch is limited in its size by
13 the single applicant cap, I'm thinking about the
14 updates to the area classifications over time, if
15 there's an applicant who has a subsequent batch
16 who also has sites identified, specific sites, do
17 you envision those would be matched up with a
18 classification according to the current map or
19 the updated map when batch number two is
20 authorized? Does that make sense?

21 MR. CAZEL: Yeah. I think we would look
22 at those addresses at the time the subsequent
23 batch is ready to be authorized because otherwise
24 we don't know what other applicants may have been
25 awarded to their trances until those are all in

1 process and it affects the subsequent batch. So
2 it's not just one applicant's list of stations.
3 It, you know, could be affected by others.

4 MR. LEVIN: Jaime Levin from CTE.

5 Elsewhere, there's reference to one mile
6 separation. Is that hard and fast? If there's
7 justification that the market would support a
8 closer proximity, would that be acceptable?

9 MR. CAZEL: Yeah. Let me talk about
10 that. I do have a slide that has that on it. I
11 don't know that it will answer your question but
12 then I'll try and address it more at that time.

13 Okay, so I was just going to -- well, I
14 went to the user guide, which is -- so following
15 the link and the slides, you can get to this user
16 guide online which the LCFS program has posted.
17 It has information about applying into their
18 program and their requirements. And so this is
19 what we're going to use. You know, the input to
20 this program will be used the same way for our
21 scoring or for reporting the size of the station
22 to the solicitation.

23 And then, also, the contact information
24 for James Duffy at the LCFS program for questions
25 or clarifications for how to use HySCapE, how to

1 apply for the HRI credits.

2 Okay, so then let's go through some of
3 the project requirements.

4 So eligible projects include new
5 construction at gas stations or other facilities
6 or on a greenfield site. Upgrades are also
7 eligible if they are at an open retail station
8 that is increasing dispensing capacity. And the
9 only stations that we think are, you know, not
10 going to be eligible for the next solicitation
11 under an upgrade would be the existing stations,
12 Coalinga, Santa Nella, Truckee and Santa Barbara.

13 As I said earlier, the location has to be
14 on an eligible area on the classification map.
15 And the HySCapE output has to show that the
16 station meets the minimum throughput for one of
17 the station classifications on that Table 1.

18 MR. MCCLORY: A question. This is Matt
19 with Toyota.

20 Is there a possibility, either in scoring
21 or other mechanism, to provide an incentive for
22 stations that would be considered a connector
23 location that would be outside of a concentrated
24 market of supply and distribution so that areas
25 identified, from a location target standpoint,

1 that could be on corridors as connectors, would
2 receive some sort of incentive to enable that
3 type of network development?

4 MR. CAZEL: I think, as we have it laid
5 out here, there isn't an added incentive or a
6 set-aside for connectors. But if you have, you
7 know, a strong opinion about how that should be
8 done, again, please send us something to the
9 docket.

10 MR. BONNER: Brian Bonner with Air
11 Products.

12 You indicate that the upgrade needs to
13 increase the dispensing capacity. Can you
14 clarify whether it could also provide an upgrade
15 that would include compression and storage
16 equipment, as well, as part of that upgrade
17 package that would be funded under this
18 solicitation?

19 MR. CAZEL: Yeah. I think those go hand
20 in hand. If the station is, you know, dispensing
21 at its limit already, then, of course, the
22 equipment that goes behind adding dispensing
23 capacity would be included.

24 MR. BONNER: Thank you.

25 MR. CAZEL: Okay, so additional

1 requirements, so one station out of each batch
2 must be either in or within a 15 minute drive of
3 a disadvantaged community.

4 And then very standard, each station must
5 meet the minimum technical requirements for open
6 retail.

7 So for eligible applicants, any key
8 personnel listed need three years of experience
9 in hydrogen or other pressurized gas. The
10 applicant has to have proven experience with
11 grants or contracts and these could be grants
12 with the Energy Commission or another public
13 agency or could be a contract. You know, say if
14 it's a subcontractor, it could be a contract with
15 another organization, a private entity, just
16 something that shows they've, you know, fulfilled
17 a contract at some point.

18 No money can be owed to the Energy
19 Commission or other public agency in order to be
20 eligible

21 And then good standing with Secretary of
22 State is a standard that we have always used. No
23 delinquent taxes would be another eligibility
24 requirement.

25 And no active litigation with the Energy

1 Commission or other public agency.

2 Other required information in the
3 applications, so for those of you following
4 along, page 16, the tranche in the batch
5 description should include the total number of
6 stations in the tranche, the number of batches,
7 and the number of stations for each batch. And
8 part of that description needs to include a
9 schedule for completing the tranche and for
10 completing each batch. And in addition to that,
11 the throughput capacity for the entire tranche,
12 including all the stations, and then for each
13 batch.

14 MR. LEIGHTY: Wayne with Shell. I have -
15 - revisit a prior question as it pertains to
16 subsequent batches.

17 In thinking about the number of batches
18 and the number of stations per batch for a given
19 tranche, a given total program size, should an
20 applicant think about those subsequent
21 appropriations in the single applicant cap, the
22 subsequent batches should be sized to fit within
23 the anticipated annual appropriations? Or maybe
24 said a different way, if that matchup in sizing
25 isn't accomplished can stations roll over from

1 batch to batch? If there's a subsequent batch
2 that ends up being too large for the amount of
3 funds that are appropriated, do the stations in
4 that batch then roll over to the next batch?

5 MR. CAZEL: I don't think we have a
6 mechanism for them to automatically roll over.
7 But we would be looking for information as to how
8 that would happen. And maybe that's something we
9 should ask for at this point into the docket is
10 how can that best be, you know, implemented?
11 Because, you know, if the funding is going -- if
12 every batch is going to be reduced by the
13 available funding, there's got to be some way for
14 you to tell us, okay, how can we make that up
15 later or, you know, how does that affect the
16 ability to roll the stations out?

17 Our intent is to get the stations in
18 batch sizes that are small enough that they can
19 be completed efficiently, rather than having, you
20 know, one huge batch that has stations that take
21 years and years to build. So the timeframes that
22 are built in are what we think is what we need
23 for -- to get the batches to roll, to keep them
24 rolling.

25 MR. CAPPELLO: Joe Cappello with Iwatani.

1 Will the review of the batches in the
2 applications be an iterative process? Will it be
3 all or nothing approval of the number of stations
4 within a batch?

5 MR. CAZEL: At the initial application,
6 we want to see the entire tranche, which includes
7 however many batches and however many stations.
8 And we'll use that as a gauge of, you know, the
9 strength of the applicant -- or the strength of
10 the application, you know, the dollars spent for
11 the number of stations and the number of
12 kilograms. But then within that, each batch,
13 each subsequent batch will be judged on, you
14 know, are the stations in eligible locations? Do
15 they match what the initial application said they
16 would be? And that would happen on an iterative
17 basis.

18 Did I get it all?

19 MR. CAPPELLO: So if there's a question
20 about a certain station location within a group
21 of stations that are submitted in a batch there's
22 an iterative discussion, rather than having the
23 application not approved?

24 MR. CAZEL: Oh, I see what you're saying.
25 Yeah, I have -- this kind of ties into the

1 question about if, you know, if a station is
2 disqualified because it's within one mile of
3 another one, what do we do? So I do have some
4 information on that coming up. So if that
5 doesn't answer it, then -- one more?

6 Go ahead, Matt.

7 MR. MCCLORY: Question. This is Matt
8 with Toyota.

9 Going back to the previous page on
10 eligibility, regarding disadvantaged communities,
11 is there a state information resource that can be
12 provided or is provided that defines where those
13 communities are?

14 MR. CAZEL: There is.

15 MR. MCCLORY: I'm not sure if I --

16 MR. CAZEL: I'm trying to think of the
17 acronym that goes with it. There is a state
18 agency that provides that map.

19 UNIDENTIFIED MALE: It's CalEnviroScreen.

20 MR. CAZEL: Yeah. Sorry.

21 CalEnviroScreen is the name of the mapping.

22 MR. MCCLORY: And related to that topic,
23 you had it defined at the batch level. Is that
24 something that is based on a criteria that the
25 state has or the Commission has or is there an

1 opportunity to consider it at a tranche level or
2 some other criteria?

3 MR. CAZEL: Our thinking on this is we
4 don't want to wait until the end to get something
5 that we want to be a requirement.

6 MR. LEVIN: Jaime from CTE.

7 So in terms of planning for the tranche
8 in the proposal, I assume we should assume July
9 1st of each year would be a \$20 million
10 allocation for the remainder of the funds of
11 \$110, plus or minus, and one-third of that. So
12 in our planning for subsequent batches, that
13 should sort of be the guideline here. You're
14 anticipating awarding that. In times past,
15 you've delayed awards and you've combined years
16 and what have you. But just for purposes of this
17 proposal, that's what we should assume?

18 MR. CAZEL: Yes. So the assumption is
19 the state will still be here. We'll all come to
20 work on July 2nd and the funding will be
21 available. The difference here is we're not
22 going to wait until we see that funding to then
23 write a solicitation and then go out with it.
24 We're going to have this as our ongoing coverage
25 for, you know, continuing the funding as it's

1 available to us.

2 MR. BUTLER: So John Butler, Energy
3 Commission.

4 So you'll see that the \$110 is not
5 divisible by \$20 million. So the only exception
6 to that rule is on July 1st, 2023, because we're
7 only authorized through January 1st, 2024, so we
8 only have a half-year's allocation or
9 appropriation in that year and that's what we're
10 anticipating. So on July 1st, 2023, I would only
11 assume \$10 million is available.

12 MR. LEVIN: So one-third of \$10 million?

13 MR. BUTLER: One-third of \$10 million for
14 each application, based on the single applicant
15 cap, yes.

16 MR. CAZEL: Yeah. And again, that
17 doesn't mean just because we got \$20 million into
18 our account, that we're going to turn around and
19 give it away in the next week. The stations that
20 are under construction still have to meet the
21 milestones in order for the next batch to be
22 authorized using that funding, so --

23 MR. MCCLORY: A question, going back to
24 eligible applicants, Part 17.

25 In Section B there is a statement on past

1 experience with the Energy Commission or, in the
2 last sentence, experience regarding another
3 organization's grant or contract. Could you
4 clarify that a bit more? If I'm thinking of this
5 in the bigger picture of engaging industry to
6 invest in the network, if they don't have state,
7 for example, experience in other states, how
8 would they pass through this criteria? This
9 seems to be screening. Could you clarify that?

10 MR. CAZEL: Yeah. So the contract with
11 another organization doesn't have to be a public
12 agency. It could be, you know, a developer that
13 has worked as a subcontractor for a larger
14 company. You know, they completed that work,
15 there was a contract. They can show us that as
16 evidence that they know how to fulfill a
17 contract. That's all we're looking for.

18 Okay, finished that one.

19 Okay, so other required information in
20 the application includes a description of the
21 station selection approach, so how did you arrive
22 at, you know, providing the station addresses in
23 the application? And we want that information
24 for the initial batch, but then we also want
25 something that describes how that same technical

1 or whatever process that, you know, was used by
2 the applicant will be applied for the subsequent
3 batches. Because we're not getting the addresses
4 for the subsequent
5 batches up front, we at least want to know that
6 you're going to use some reasonable criteria to
7 come up with them in the future.

8 And then other information, we want a
9 description of how the application -- you know,
10 the stations that are in it and the future
11 stations that are, you know, proposed or will be
12 proposed for future batches will make adjustments
13 to keep up with any changes in codes or protocols
14 or, you know, any other standards over time,
15 since we foresee this as being not a one time
16 but, you know, an ongoing rollout of stations.
17 So especially for, you know, in the areas of
18 safety, we don't want, you know, something
19 proposed that the station is going to be obsolete
20 by the time it gets around to being built.

21 And then station performance, as well.
22 You know, things change over the years. We want
23 you to tell us how that will be implemented as
24 you get to the batches that are further down the
25 road.

1 MR. SLOTH: Maybe just one question on
2 that. In the previous GFO the table of content
3 that was outlined for the safety plan were quite
4 prescriptive and detailed. And in order to
5 address those headlines, those need to be very
6 equipment-specific. However, in this new GFO, if
7 we are to cover multiple batches and, also,
8 potentially that you will be modifying the
9 minimum requirements for future batches, it may
10 be difficult to be very specific on the safety
11 plan if the equipment configuration has to be
12 open.

13 MR. CAZEL: Yeah. Later, I want to say
14 this afternoon, probably, I have some slides on
15 the safety plan and requirements. And we do
16 understand that it was difficult to provide a
17 very complete safety plan without knowing, you
18 know, the exact equipment, the exact location,
19 that kind of thing. And even more so with these
20 stations because of, you know, the future
21 implementation.

22 So more on the list of required
23 information in the applications. We touched on
24 this off and on already, the initial batch of
25 stations needs to include an address for each

1 station. And the classification, station
2 classification, needs to match one in the table.
3 And we want a schedule for completing the batch
4 within 30 months.

5 And so then here's Jaime's question. You
6 were so far ahead of us. So in the initial batch
7 of stations, if there are two or more applicants
8 that propose a station, you know, within close
9 proximity, one linear mile, the applicant that's
10 the higher scoring applicant will be awarded that
11 station. This is a little different than the way
12 we've scored in the past where each station was
13 scored. This will affect the stations' locations
14 but it will be the applicant's overall score that
15 will trump the lower-scoring applicant. So if
16 one of those stations is disqualified, we'll come
17 back to the applicant and say give us a
18 replacement or a list of replacement stations
19 within 60 days to replace this one that got
20 bumped because it was too close to another
21 previously awarded station.

22 So the -- and then the other option would
23 be do you want to continue with a smaller batch
24 with, you know, subsequently lower funding to
25 match and just continue with the stations that

1 were awarded, you know, except for the one that
2 was disqualified.

3 MR. LEVIN: What if I -- what if I came
4 back to you to say that the station that is not -
5 - you know, the applicant did not get the highest
6 score, so my station is within a mile, within
7 that mile, and I can show that there's capacity
8 demand that would justify that, what would you do
9 under those circumstances?

10 MR. CAZEL: As it's written now, this
11 would be the rule going forward in the next
12 solicitation. If you think there's a good
13 argument for why it should be different, by all
14 means, please give us something in writing in the
15 docket that we can consider.

16 MR. SLOTH: One additional question on
17 that.

18 If an applicant chooses to go with fewer
19 stations, if one of the stations is bumped
20 because of the one mile, if that one station has
21 a certain configuration that has a big impact on
22 the dollar per kilo or dollar per station, would
23 you then have to rescore again or --

24 MR. CAZEL: Yeah, I think this would all
25 be within the initial scoring process. And so by

1 giving us backup stations when we request them,
2 we would have a chance to look at those and say
3 this is going to work or this is not going to
4 work.

5 So then information about the second and
6 subsequent batches of stations in the initial
7 application, we want, you know, how many stations
8 you're going to do, but then when it comes to
9 funding, they'll be one batch at a time, first
10 come, first served. And these same bullets that
11 we discussed earlier have to be met before the
12 next batch can be authorized. So that's the 18-
13 months' building approval for the batch ahead of
14 the second batch or the subsequent batch. And a
15 schedule and justification that shows that the
16 stations that are underway will be completed
17 within 30 months and open.

18 Again, funding has to be available.
19 Critical milestones one and two need to be met.
20 And the new addresses for the subsequent batch
21 have to be in an eligible area.

22 MR. MCCLORY: Question. This is Matt
23 with Toyota.

24 Regarding the comment or the statement on
25 the first -- I'm sorry, the second bullet, "or

1 are expected within 30 months of the Energy
2 Commission authorizing the stations under the
3 agreement," does that mean that there's criteria
4 that can be defined, progress towards opening, so
5 that subsequent batches could be awarded and work
6 begun on those projects?

7 MR. CAZEL: Yeah. Part of that schedule
8 and the expectation of meeting the 30 months
9 includes showing us that you -- showing that
10 progress has been made toward that and justifying
11 why the 30 months is reasonable. What we don't
12 want is, you know, to require that all stations
13 be open before we start moving on the next batch.
14 We don't want to slow down progress in that way
15 but we want to see that the prior batch is
16 progressing. So we haven't defined what those
17 would be, other than, you know, maybe in the
18 reimbursement schedule. You need to start moving
19 through that schedule and getting reimbursement
20 and showing that those steps have been completed
21 in order to justify saying that, you know, some
22 future date is going to be met.

23 MR. MCCLORY: As a follow-up, this is
24 Matt with Toyota, is there any other criteria on
25 the opposite side of that as far as the first

1 batch or subsequent batches that if progress is
2 not being demonstrated within the 30 months, that
3 some kind of review can be done to understand if
4 those sites are viable or will be built? Is
5 there any discretion from the Commission?

6 MR. CAZEL: Yeah. We also have, in our
7 agreements, you know, our critical project review
8 meetings where, you know, we go over the project,
9 where it's at, should it continue, and are there
10 major problems? And there's always language in
11 our terms and conditions in our, you know, any of
12 our agreements that allow the Energy Commission
13 to cancel an agreement and move on if things are
14 not going well or if, you know, milestones are
15 not met or, you know, any number of reasons that
16 show us that, you know, it doesn't look viable.

17 MR. ELLIS: Steve Ellis with Honda.

18 So in this particular example, I'm trying
19 to understand either what problem is trying to be
20 solved or what you're trying to accomplish with
21 this, being very empathetic to a need for vendors
22 to perform. At the same time, I think I want to
23 speak out of concern for things that would slow
24 down next activities. There are things within
25 control. Some things are beyond our control, you

1 know, a vendors.

2 And when I read this and see this and
3 understand it, I want to just make sure that, you
4 know, at a time like now, somewhere between the
5 bookends of some places that you need to build
6 more stations more quickly, you need to catch up
7 versus the constraints that may exist with the AB
8 8 funding, \$20 million annual funds and things
9 like that. Somewhere between those two, I worry
10 about whether this will have an unintended
11 consequence of slowing things down. I think we
12 now have some track record of seeing that certain
13 cases are exceptions; it's not the rule.

14 And I would ask that this be looked at
15 carefully, that it not be such a bright line that
16 would prevent a next wave of station activity
17 funding, development and opening for some rule
18 like this that could be a hindrance to
19 accelerated growth of stations.

20 So I just want to pose it more as a
21 concern than a specific question requiring an
22 answer.

23 MR. CAZEL: Yeah. This is written fairly
24 strictly. We do have some language on page six
25 that, you know, is kind of our standard language

1 that allows the Energy Commission to make
2 decisions on projects if they're not progressing,
3 that kind of thing. So you know, we wanted to
4 present, you know, here is the minimum, you've
5 got to get these going. If they're going to come
6 in sooner, we're not going to wait 18 months;
7 right? And if these stations are permitted
8 quickly and constructed quickly, the next batch
9 could roll out as soon as the funding is
10 available.

11 So we're looking at these as more of the
12 outer limits of, you know, where we would start
13 to flag things and start to consider, is this not
14 going to go forward because they haven't met
15 these dates?

16 MR. ELLIS: Yeah, so, thanks. And a
17 follow-up to that is -- only because, you know,
18 when I read this, some of it is literal, so when
19 it says stations in prior batches are open retail
20 or expected within 30 months, it seems to be a
21 broad brush without defining that if one of that
22 group is facing challenges and behind, I just
23 don't read it as flexible.

24 So again, think carefully about the
25 intent and then how it might be applied, while at

1 the same time I understand protecting the
2 taxpayer dollars, and you're interested in the
3 funding.

4 So thank you.

5 MR. CAZEL: Thanks.

6 MR. SLOTH: Mikael from NEL.

7 I think you mentioned earlier that the
8 following batches would be awarded on a first-
9 come basis. What would you do your banking for
10 the entire tranche so that you know who the
11 awarded ones potentially would be in following
12 batches, so you can also check the mix of the one
13 application, the cap? Because then I guess the
14 need for first-come basis is not linked to, you
15 know, availability of funding, that whoever is
16 first will get that funding.

17 MR. CAZEL: Yeah. So that question
18 applies more to what if? So this slide kind of
19 covers some of that. So for subsequent batches,
20 they're first come, first served, not based on
21 the original application ranking, unless we get
22 two stations that are within a mile of each
23 other. They would have to be received on the
24 same day.

25 So if two applicants were ready for their

1 second batch on exactly the same day and they
2 went in their list of stations and we ended up
3 with this conflict again, it would still go back
4 to the higher-ranked applicant. If they're
5 received on different days, it's the first one
6 received gets that location, regardless of where
7 they were ranked initially. And then the other,
8 you know, the other points follow. You know, the
9 disqualified station can be replaced by, you
10 know, a substitute station.

11 MR. SLOTH: Maybe in another scenario
12 because I guess in this setup, if you're not
13 awarded an initial batch, then you are also not
14 included in the second or following batches that
15 are allocated. But what if too many initial
16 batches are delayed or maybe second batches
17 aren't, you know, completed? You may run out of
18 batches. And then the, you know, other applicants
19 that were not awarded the initial ones and all
20 their additional batches were not included, they
21 may not be available, potentially.

22 MR. CAZEL: Yeah. Thanks for your
23 negative outlook, but we're anticipating we're
24 going to get great stations that are all going to
25 go forward and --

1 MR. LEIGHTY: Hi. Wayne from Shell.
2 May I ask just a little more granularity
3 on what CEC authorization of subsequent batches
4 looks like? Is that a revised NOPA? I think I
5 heard you say the anticipated NOPA is for the
6 full tranche as a number, and then the initial
7 batch as a list of locations. And then
8 authorization of a subsequent batch, is that a
9 NOPA? Does that -- I think I also understood,
10 there's some kind of amendment to a grant
11 agreement. Is that a business meeting to
12 encumber funds? Maybe just a bit more on your
13 anticipation of what that authorization looks
14 like.

15 MR. CAZEL: Yeah. All of those things
16 are more our internal process. So we'll look at,
17 you know, what makes it, you know, most efficient
18 to roll out. But our intent is to award, you
19 know, the number of stations in the tranche, but
20 only knowing the addresses of the first batch,
21 and then encumbering the funds that are available
22 in the agreement for that first batch. So we're
23 only, you know, giving the money out as we have
24 it and only for the batch that's in front of us
25 at the time. When we get to the next batch, you

1 know, the subsequent batch, the funding will have
2 to be added to the agreement and that would
3 require, you know, most likely a business meeting
4 approval of the next batch and all of those
5 steps.

6 So those are things that, you know, we'll
7 have to work out internally, but that's kind of
8 how -- you know, the terminology of whatever we
9 call it, whether it's a NOPA or a business
10 meeting approval or an amendment, you know, I
11 think is, you know, less important than when the
12 funding is ready or available and the batch is
13 ready, we'll try and make those two things
14 comment together.

15 MR. LEIGHTY: Thank you.

16 MR. BROWN: Hi. Tim Brown with First
17 Element Fuel.

18 You said it's more about the mechanics of
19 the CEC but it does affect us in a way as to when
20 match funding would count. So, for example, if
21 there as a tranche of ten stations, five in the
22 first batch, five in the second batch, can we
23 order equipment for all ten up front and have
24 that cost share count? Because if it's actually
25 an amendment to the contract, that cost share, in

1 theory, wouldn't count. We wouldn't be able to
2 preorder that equipment and spend that money.

3 MR. CAZEL: Yeah. That's a really good
4 question. So in most cases -- thanks, Patty -- so
5 in most cases the match counts under the umbrella
6 of an agreement with start dates and end dates.
7 So we'll have to look at, you know, how does that
8 apply to a batch that's only authorized with
9 additional funding at a new data, you know?
10 Thanks.

11 Okay, according to the clock and
12 according to where we're at, I think this is a
13 perfect time to break for lunch. We'll come back
14 at one o'clock and we'll start with minimum
15 technical requirements, and then go into some of
16 the scoring and go from there.

17 Thank you. See you at one o'clock

18 (Off the record at 11:58 a.m.)

19 (On the record at 1:05 p.m.)

20 MR. CAZEL: Okay, so welcome back. We're
21 going to go into minimum technical requirements
22 to begin the afternoon.

23 But before that, for those of you in the
24 room, we do have a period at the end for public
25 comment. And so we'd like you to go ahead and

1 fill out a blue card, you can put your name on
2 it, we know what you're here for, and put them on
3 the corner of the desk here. And then we'll at
4 least know how many people we have and we can get
5 them in order and make some quick work of the
6 public comment period.

7 For those of you that are online on
8 WebEx, go ahead and send a message saying that
9 you'd like to make a public comment. I'll
10 announce this again when we get to that point,
11 but that will be our procedure.

12 Okay, so are there any questions that we,
13 you know, didn't get to or that you thought of
14 over lunch that pertain more to the stuff we
15 covered this morning? We can do those now,
16 before we get too deep into something else.

17 If not, oh, okay, so we'll go into
18 minimum technical requirements.

19 So the next solicitation will have
20 minimum technical requirements and they must be
21 met before the station will be considered open
22 retail by the Energy Commission. This is a
23 little different than our past solicitations. In
24 the past we've called it operational, so now
25 we're going straight to open retail. We know

1 operational is a step. We're just not going to
2 call that out as something separate. And the
3 requirements, each requirement needs to be met at
4 the station. So where all the equipment is
5 installed at the address of the station is where
6 the minimum technical requirement has to be
7 fulfilled.

8 Okay, so the minimum technical
9 requirements include these different aspects.
10 Most of them are familiar to you, quality, type,
11 evaluation, et cetera. We'll go through each
12 one. In the actual document, they're not titled
13 like they are in a solicitation but you'll
14 recognize, you know, the contents of the minimum
15 technical requirement. I'm not going to read
16 each one. Some of them are long. But we can put
17 each on the screen and if there's questions, we
18 can address them at that time.

19 So the main differences between what is
20 proposed for the next solicitation and the last
21 GFO, GFO-15-605, is new compliance with SCA HGV
22 4.9 will be required. There's a change to the
23 hydrogen quality readings; it will be every six
24 months instead of every three months. And part
25 of the minimum technical requirement to become

1 open retail will include emergency shutdown
2 covers of some type to prevent, you know, false
3 shutoffs or accidental shutoffs. And then in
4 addition, station lighting and signage will be a
5 requirement.

6 So beginning with quality, this is the
7 language from the last solicitation. We think
8 it's pertinent now. Test frequency will be every
9 six months. And if I don't see a hand go up or
10 if we don't have comments online, I'll just go
11 through these.

12 So then for type evaluation, this is a
13 portion of the language that's in the
14 requirement. And essentially it, you know,
15 directs that DMS approval is required for
16 dispensers. Local agencies have to be involved
17 if installing a type approved dispenser. This
18 language is similar to what we've had in the
19 past.

20 The plan for obtaining DMS or a
21 registered service agency testing of the
22 dispenser has to be included in the application.

23 And this time around, this is slightly
24 different, the stations need to be designed to be
25 able to fuel all different sizes of light-duty

1 systems. So this takes into account vehicles
2 that may be coming with larger tanks than we've
3 had in the past.

4 So then for fueling protocols, dispensers
5 need to comply with the most recent version of
6 SAE J2601, and this is H70-T40, and this includes
7 table-based MC method, MC formula. H70 is
8 mandatory and H35 will be optional in this next
9 solicitation.

10 And then in order to verify that the
11 station meets different protocols, we'll be
12 requiring HySCapE to be used or a functionally-
13 equivalent apparatus and, if all else fails, at
14 least OEM best practices.

15 Go ahead. Question?

16 MR. MCCLORY: So kind of a question or
17 maybe clarification regarding the last part on
18 4.3 and HyStEP. In the document, the way it's
19 read is that it seems to talk about a third party
20 but it seems a little bit inconsistent with some
21 of the discussions that we've been -- that the
22 automakers and others have been having with ARB.
23 There is a discussion and a proposal that is
24 being drafted right now with ARB to try and
25 clarify the role of the third party and the

1 involvement of the CARB HyStEP team. And I think
2 we would request to have maybe an opportunity to
3 review that or try to clarify that within the
4 Commission.

5 MR. CAZEL: Is that something that could
6 be submitted to a docket, you're saying, or you
7 want more discussion around what third party
8 means?

9 MR. MCCLORY: There is language that is
10 intended to be submitted to the docket, that's
11 correct. I think from the perspective of Toyota,
12 the comment is, is that there is a level of
13 vetting and confirmation of the third party
14 itself, as has been demonstrated in a number of
15 examples, both within California and externally.
16 And so the request would be is to try to
17 encompass that within the language that's
18 proposed as part of the solicitation.

19 MR. CAZEL: Thanks. Yeah, we welcome
20 that kind of input. The way we worded it here,
21 the functionally-equivalent apparatus, it
22 contemplates third party. But if you have ideas
23 to submit on what that could be defined as, that
24 would be great.

25 Okay, so then some other minimum

1 technical requirements. You need to comply with
2 HGV -- SCA HVG 4.9, conform to the most recent
3 communication, J2799, as well as the nozzles and
4 connectors and hoses, J2600. So each of those is
5 written to look forward to any changes that may
6 come to those. So the most recent version is
7 what we'll look for.

8 Additionally, a point of sales terminal
9 that accepts all different types of payment.
10 This is been fairly standard. The language has
11 changed over the years.

12 And then this is new. So H, the hydrogen
13 fuel supply and delivery agreement, that includes
14 a backup plan for delivery of hydrogen if the
15 initial -- if the primary source fails to
16 delivery. And then also I mentioned earlier, a
17 utility connection. So we wanted the plan as to
18 how you're going to get the utility connection.
19 And then the minimum technical requirement in
20 order to pass and move on to open retail is it
21 has to be an energized utility connection.

22 MR. MCCLORY: This is Matt with Toyota.
23 A question.

24 On the item H, regarding the second
25 supply arrangement as a backup, is the criteria -

1 - is there criteria from the Energy Commission on
2 what that means?

3 MR. CAZEL: No. I think, as we discussed
4 earlier briefly, that we just want to see, what's
5 the plan? I think for the initial delivery
6 agreement, we want some kind of proof. And
7 whether that is in the form of a contract or some
8 other form of agreement, I think we're, you know,
9 seeking input from. But then for the backup,
10 again, you know, what is doable, what is, you
11 know, most effective, and what's a good way to
12 convey to the Energy Commission that you've
13 looked into this problem.

14 We have a question online.

15 MR. JOHNSON: Robert Wegeng asks, "What
16 is the expected schedule for the following
17 programmatic milestones, issuance of the final
18 solicitation, proposals due date, selection of
19 winning proposals, and start dates for work?"

20 MR. CAZEL: So none of that has been
21 determined yet. That will be laid out when the
22 solicitation is developed. So these concepts are
23 pre-solicitation. When we get to the
24 solicitation, when that gets published, that will
25 have its own schedule with all of those dates you

1 asked about in it.

2 MR. ELLIS: On item H, again, this is
3 Steve Ellis with Honda, you know, again, I
4 appreciate the desire to have a backup supply,
5 but it also makes me wonder about, you know,
6 constraints and storing and things like that. So
7 on one hand, what we know is that in some cases
8 there is an exclusive supply agreement that, you
9 know, can't be breached, so to speak, short of an
10 enforcement issue or something like that.

11 So I'm just wondering, how do you
12 consider that where, in some cases, a less mature
13 vendor might have more flexibility in achieving
14 that type of agreement than one that's, say, been
15 in the business, have been doing this already,
16 and they have locked in supply agreements? I
17 just want to hear a little bit about that.

18 MR. CAZEL: Yeah. We know some of the
19 agreements that are out there are locked in. And
20 we wanted to put this out as, you know, a
21 requirement for future stations to have more than
22 just that one option. And you know, those of you
23 who have agreements like that, do you have -- you
24 know, are there ways to work this in? We'd like
25 to have feedback, you know, since this seems to

1 be an issue. You know, what is workable? What
2 we want is a plan so that we don't have stations
3 that run out of fuel and there is no option. So
4 we're looking for a way to at least have some
5 forethought on that.

6 MR. ELLIS: Thank you.

7 MR. CAZEL: So then another minimum tech
8 requirement is lighting, so dispensers should
9 have lighting or be in an area that is, you know,
10 adequately lit so that it's safe for station
11 users.

12 And then signage at the stations could
13 depend on -- you know, the local jurisdiction has
14 some oversight. The Energy Commission wants to
15 approve things that are posted, you know, at the
16 site that describe where the funding has come
17 from. Caltrans has policies for putting
18 station -- or putting signs, you know, on
19 freeways. And then the trailblazer signs, like I
20 said, the local agencies are involved with. So
21 they'll -- you know, there's language in here
22 about, you know, taking steps toward getting
23 proper signage for the stations.

24 And then we want all of the open retail
25 stations to be connected to SOSS. And, of

1 course, have all the required permits to operate
2 the station. So the assumption is they have the
3 operation -- or they have the building permit.
4 We need final signoffs and permission to occupy
5 or operate the station before it becomes open
6 retail.

7 And then the step of having some kind of
8 protection on the emergency stop device to
9 prevent accidental shutdown of the station.

10 And then the station needs to be
11 accessible to the public, and this is our
12 standard. It needs to be open, no pin codes, no,
13 you know, memberships to get to the station.

14 MR. BROWN: Tim Brown, First Element.
15 I'm sorry to go back to your previous slide.

16 You said you need signage about method of
17 sale requirements. What does that mean?

18 MR. CAZEL: Something at the station that
19 walks the customer through how to swipe a card,
20 how to use the nozzle. I mean, it seems basic,
21 but if we're going to say put a sign there, let's
22 put one there that tells people how to use it,
23 so -- all right.

24 MR. ELLIS: Sorry. Can you go back one
25 more time?

1 MR. CAZEL: One more?

2 MR. ELLIS: No. This is good.

3 So are you providing, for example,
4 boilerplate language on things like public
5 funding? I'm just trying to avoid the
6 inconsistencies with how people might see that or
7 perceive it at a customer level.

8 And when you say trailblazer signs on
9 local roads, is that -- how is that different
10 from highway signs that I'm familiar with? There
11 are a few examples of the highway signs but I'm
12 not sure I know the trailblazer sign. That
13 sounds like a Ian Penden specific reference
14 there.

15 MR. CAZEL: Sorry for the room.

16 MS. BARONAS: First joke of the day.

17 MR. CAZEL: Yeah. From what we've
18 learned on the signs is Caltrans has jurisdiction
19 over freeways and highways. And the trailblazer
20 signs are off of highways and freeways, so those
21 more up to the local jurisdictions to give
22 permission to. And each has requirements for,
23 you know, placement, size, color, all those
24 criteria.

25 And then as far as the signs that the

1 Energy Commission wants to have some oversight on
2 at the station, we don't necessarily have
3 boilerplate but we want to have, you know, veto
4 power over what's posted there, just so that it
5 makes sense and conforms with, you know, what the
6 state agency wants their message to be.

7 MS. VACIN: This is Gia with GO-Biz. I
8 can add a couple of comments about the
9 trailblazer sign. So they have their specific
10 requirements, two of which had come to mind for a
11 hydrogen station.

12 The trailblazer signs are basically the
13 directional signs that get you from the highway
14 to the station. And you need to have one anytime
15 there's a directional change, really, is kind of
16 what they are intended to do.

17 And the other requirement are that
18 Caltrans will pay for the freeway signs but the
19 station has to be within three miles of the
20 highway. And it has to be open 16 hours a day.

21 MR. ELLIS: So to be certain, Gia, thank
22 you, you're saying if it's a highway sign and one
23 that Caltrans will fund, there's requirements,
24 and I think I just heard you say that one
25 requirement is the station has to be within three

1 miles. And then is there also a requirement then
2 for the trailblazer signs to make sure people
3 don't get lost and stuff?

4 MS. VACIN: Yes. And they have to be in
5 place before Caltrans will actually place the
6 freeway sign. The track can happen in parallel
7 but the sign won't actually be placed until the
8 trailblazers are in place.

9 MR. ELLIS: And the station developer is
10 responsible for the placement permitting and
11 costs --

12 MS. VACIN: Yes.

13 MR. ELLIS: -- of the trailblazer signs?

14 MS. VACIN: Yes.

15 MR. ELLIS: Okay. Thank you.

16 MR. CAZEL: Okay, so then in the back of
17 the draft concepts document that we published,
18 there's Appendix D. And this is kind of a ripped
19 in half and put back together version of that. I
20 do have an image of it later but this gives you
21 kind of a list of all of the requirements, puts
22 them all in one place. It gives a placed for the
23 applicant to look at and, you know, remind
24 themselves of what the requirements are.

25 So anything else on minimum technical

1 requirements? As always, if something, you know,
2 comes up, send it into our docket. It helps us
3 to get feedback, even after this.

4 So required letters of support and
5 commitment, there are mandatory letters that are
6 required, and that's one from the site owner or
7 the operator who has, you know, jurisdiction over
8 the station or the site where the hydrogen will
9 be installed, a match share commitment letter
10 which explains to the Energy Commission from the
11 applicant where their match is coming from. And
12 then if there are any key project partners, we
13 need a letter of support from each of them. And
14 referrals from subcontractors that the applicant
15 has worked with in the past. And then an
16 optional set of letters could be third-party
17 letters of support. That could be from, you
18 know, a local agency, a car dealership, whatever.

19 MR. LEVIN: Jaime from CTE.

20 Those referral letters are just letters
21 of reference to the applicant, whether they are,
22 indeed, going to be subcontractors to this
23 project or --

24 MR. CAZEL: Correct. Yeah. Like a
25 letter of reference would be for a job

1 application, you know?

2 MR. EDWARDS: Dave Edwards from Air
3 Liquide.

4 So from the perspective of a hydrogen
5 supplier into this market, there's a couple of
6 places where hydrogen supply contracts and
7 agreement have some up now. Milestone five where
8 you talked about a requirement for a supply
9 agreement, and then this minimum technical
10 requirements for a supply and a backup plan.

11 Would it be sufficient, for example, for
12 a station operator to have a letter of support at
13 this level saying that they have the agreement in
14 principle to pursue a contract, and then for
15 milestone five, to have that be formalized once
16 the project is awarded? We would have
17 difficulty, obviously, signing a supply agreement
18 before we knew the stations were going to be a
19 real network and dedicating molecules to that
20 pathway. Is that the kind of consideration that
21 would go in here?

22 MR. CAZEL: Yeah, that's good input. I
23 know earlier this morning we talked about, you
24 know, what constitutes proof of having a supply
25 agreement and, you know, what would be

1 acceptable. And so along those lines, you know,
2 we developed, what is, you know, what is the
3 initial step? What is the step to say it's
4 finalized?

5 MR. EDWARDS: Okay. Because at this
6 point we could get a letter of support with a
7 good faith effort to negotiate a contract but we
8 wouldn't be able to be more specific unless there
9 was already a supply agreement in place with that
10 company, for example.

11 Thank you.

12 MR. CAZEL: Okay, we touched on this
13 briefly earlier also. Data collection will be
14 required for five years after the station is open
15 retail. And the data should be -- or shall be
16 reported on the NREL tool, just like the stations
17 that are operating today.

18 MR. MCCLORY: This is Matt with Toyota.

19 As maybe -- well, as mentioned in prior
20 workshops, one of the items on the NREL data
21 collection tool we would encourage is for the CEC
22 to request that the state of charge for each fill
23 be tracked and reviewed as one of the metrics to
24 understand the customer experience. And then
25 this would -- this should have been added or, I

1 think, was contemplated to be added to the data
2 collection tool but I'm not sure if the latest
3 version reflects that, so --

4 MS. BARONAS: Thank you, Matt. Jean
5 Baronas, California Energy Commission.

6 So for the last two solicitations, that's
7 been an optional field. Are you stating you'd
8 like it a mandatory field?

9 MR. MCCLORY: This is Matt with Toyota.

10 Yes, we would recommend that to be a
11 mandatory field. We think this is a stronger
12 metric than other mandatory fields in the data
13 collection tool to be able to indicate the actual
14 customer experience of their ability to get a
15 full fill at the stations and understand what the
16 capability of that, basically, decay or the
17 retention of being able to provide full fills,
18 how that is achieved, during an interval time
19 period or throughout the day or throughout the
20 week?

21 So it's really the first indication of
22 customer experience at the station, is the state
23 of charge.

24 MS. BARONAS: Okay. Thank you for that.

25 Phil, if I may? This is Jean Baronas,

1 the California Energy Commission.

2 So can you place comment to the docket?

3 The reason is not every materially-affected party
4 is here today or online. And we want to make
5 sure that people would understand this
6 conversation was ongoing.

7 MR. MCCLORY: This is Matt with Toyota.

8 That would be in my comments that are
9 written to the -- submitted.

10 MR. CAZEL: So in the next solicitation,
11 we've touched on these a little bit earlier,
12 there will be three written plans that will be
13 required. So one is the Hydrogen Safety Plan,
14 we're calling it the Preliminary Hydrogen Safety
15 Plan, an Operation and Maintenance Plan, and then
16 a plan for dispensing renewable hydrogen. I'll
17 cover each of those a little.

18 So the Preliminary Hydrogen Safety Plan
19 will be confidential. It should include the
20 things that are in the safety planning for
21 Hydrogen and Fuel Cell Projects Guidebook, and
22 that's at H2Tools.org. This is exactly what we
23 asked for in the last solicitation. This time it
24 will be kept confidential, so that's the
25 difference. The H2Tools is online. It's

1 available. It's this document. It will lead
2 applicants through the process of, you know, what
3 we're asking for.

4 And so included in the Preliminary Safety
5 Plan should be an outline that follows those
6 guidelines, a description of how the tranche of
7 stations as applied for will follow safety
8 practices over the entire tranche. And this is
9 knowing that some of the locations haven't been
10 identified yet. And then how stations, you know,
11 as they're developed over time will continue to
12 follow, you know, safety protocols, especially
13 NFPA 2 and the local safety codes. And then a
14 description of ongoing safety training.

15 So the Hydrogen Safety Panel knows, you
16 know, based on applications that were received in
17 the last solicitation that it is difficult to get
18 all the information for a specific site when some
19 of the sites are up in the air. So they want to
20 work with applicants who become recipients to
21 fine tune their safety plan.

22 And so we want a statement in the
23 application that says applicants will work with
24 the Hydrogen Safety Panel to, you know, finalize
25 or, you know, work on their safety plan as the

1 design of the station is further developed, and
2 this should happen before plan check. It's not a
3 guarantee that the permitting process will be
4 faster or smoother. But the Hydrogen Safety
5 Panel and the Energy Commission feel that working
6 together in this way, we can come up with better,
7 you know, a better process to go to the local
8 agencies with.

9 And then additionally, this is the same
10 as in past -- in the past solicitation, there
11 will be a three-year period where the Hydrogen
12 Safety Panel will follow up on, you know, where
13 the station is, review the safety plan, look for
14 anything that may have fallen out of, you know,
15 not being followed. It's more of kind of a
16 check-in.

17 MR. EDWARDS: Dave Edward from Air
18 Liquide.

19 So the hydrogen safety plans, one of the
20 biggest changes is that they moved to
21 confidential. What's the thinking behind moving
22 those to confidential, given that safety is one
23 of the things that we want to raise to a best
24 practice standard and have good communications
25 within the industry and within -- in those

1 practices, for example?

2 MR. CAZEL: Well, I think our main reason
3 for going with the confidential plan is the
4 feedback we received in the last round, in our
5 last solicitation, was that more information
6 could have been given to the Safety Panel if it
7 was confidential because of proprietary concerns
8 with equipment design or setup, that sort of
9 thing.

10 So our thought is the Safety Panel is
11 still going to be able to review that
12 confidential material but then it won't be
13 released to the public and reveal too much about
14 what different developers are planning.

15 MS. BARONAS: Jean Baronas, California
16 Energy Commission. I just want to build on
17 Phil's remarks here.

18 So the manager of the Safety Panel is in
19 discussion with the agency presently about
20 aggregating the safety plan, the key features of
21 each safety plan, for public use after stations
22 are awarded. But they would be aggregated so
23 that a person familiar with the state of the art
24 could not discern what developer put forward
25 what. So that's the balance we think is

1 appropriate.

2 So as Phil said, high level of detail
3 under confidential status to be kept by the
4 agency for seven years in a confidential state.
5 And then aggregation on the part of the manager
6 of the Safety Panel to explain to industry and
7 post on USDOE's H2Tools site the key features of
8 how safety is being implemented throughout the
9 life of the stations.

10 MR. BROWN: Hi. Tim Brown, First
11 Element.

12 You had early station design review.
13 That's a review with whom? And what is the
14 outcome of that?

15 MR. CAZEL: This is between the recipient
16 of the award and the Hydrogen Safety Panel. They
17 want to be able to review, knowing that, you
18 know, the application will contain a certain
19 amount of detail. But then when the station, you
20 know, is getting ready for plan check and, you
21 know, designs are complete, they want to have a
22 chance to look at it again at that stage. And
23 they're not going to judge it or tell you you're
24 wrong, but there may be some things they could
25 help out with in that phase, the earlier phase,

1 rather than waiting.

2 So then another plan is the Operations
3 and Maintenance Plan. This has always been part
4 of the scoring process. So we've always asked,
5 you know, tell us how your Operations and
6 Maintenance Plan will make your station better?

7 In this new solicitation, we will ask for
8 a specific plan. We wanted to include, you know,
9 expected maintenance costs, how those costs are
10 going to be paid for, how LCFS HRI credits are
11 planned on being part of the support for the
12 station. And then along with the other things,
13 you know, how uptime will be optimized?

14 How -- what's the plan for responding to
15 problems, scheduled maintenance, unscheduled?
16 And then what's the process for when there's, you
17 know, a failure of a piece of equipment? What's
18 the response time for that? What kind of assets
19 will be mobilized to get the station back online?

20 And this is all keeping in mind that
21 operations and maintenance funding is not
22 anticipated for this solicitation. It will be
23 the LCFS program.

24 MR. EDWARDS: So Dave Edwards from Air
25 Liquide.

1 I would suggest perhaps addition of a
2 bullet here where we talk about the structure of
3 the organization and the location of resources in
4 order to respond. In a lot of cases, that's the
5 limiting factor for optimization and planning,
6 for example.

7 MR. CAZEL: Thanks.

8 So then the third written plan that will
9 be required will be the Renewable Hydrogen Plan.
10 And we want the description to include how the
11 stations that are awarded or the entire portfolio
12 of stations, if there are stations that are
13 already awarded in prior solicitations, would
14 combine together to dispense at least 33 percent
15 renewable hydrogen.

16 And then also we want included in the
17 report -- or the plan is what is the calculation
18 of the well-to-wheel GHG emissions? What LCFS
19 pathway is being used? And the other assumptions
20 that are in the calculation.

21 MR. EDWARDS: So Dave Edwards from Air
22 Liquide again.

23 So one of the significant changes for the
24 Renewable Hydrogen Plan is the selection of
25 feedstocks eligible and, under renewable natural

1 gas, the specific exclusion of landfill gas as a
2 renewable feedstock to meet the 33 percent. It's
3 unclear from us whether this is driven by a
4 policy or a regulatory requirement or whether
5 this is a CEC expectation. And a little fidelity
6 on where that comes from would be helpful.

7 And then further, has there been any
8 analysis to look at, with those exclusions, the
9 effects on the cost of hydrogen to the consumer
10 and the availability of hydrogen renewable in the
11 market, for example?

12 MR. BUTLER: So John Butler, Energy
13 Commission.

14 The exclusion of landfill gas is policy-
15 driven, statewide policy-driven. Our colleagues
16 at CalRecycle asked that we exclude landfill gas,
17 so we are not unduly incentivizing or somehow
18 incentivizing not diverting organics from the
19 waste streams. And we prefer feedstocks that are
20 pre-landfill organics from waste streams, so to
21 be used to make the biogas. So again, it's a
22 statewide policy that we're trying to support
23 here.

24 In terms of have we done an analysis on
25 the effect of the cost of hydrogen, we have not

1 done that.

2 MR. ELLIS: Steve Ellis with American
3 Honda. So I had another question relative to it.

4 But hearing that statewide policy, it
5 strikes me a little bit unusual. I mean, I'm not
6 sure what's trying to be served with that type of
7 policy directing or protecting landfill gas for
8 purpose X versus Y, but that's kind of what I
9 hear. It seems that, you know, we're trying to
10 achieve bigger goals here. And anything that is
11 limiting toward these goals of decarbonizing
12 transportation seems to be counterproductive. I
13 know that people in this room may not be the ones
14 that can affect that change. But at the same
15 time, I just want to put that out there and say
16 that that maybe should be left -- best left to
17 those in the business of that supply and the
18 commerce of capitalism to make those business
19 decisions.

20 In a nutshell, something about hearing
21 what you said just doesn't make sense, it doesn't
22 wash, you might say. Again, not -- I think I
23 hear you saying you're simply responding to other
24 policies.

25 The other is, I think, the second bullet

1 calculation on a well-to-wheel basis, I think
2 that's good. But I also am concerned because the
3 total well to wheel is made up the basis of the
4 renewable content, and there's calculation under
5 the great model that define that. But I think
6 there's two parts to it, it's well to tank and
7 tank to wheel. And my concern with this being
8 put on the backs of the station developers is the
9 tank to wheel is a variable based on vehicle fuel
10 economy, which varies across the array of
11 vehicles in the market.

12 So maybe take a look at whether it's best
13 to just simply define this as a well-to-tank,
14 hence, supply to the tip of the nozzle. And the
15 assumptions then are, you know, all the vehicles
16 will vary across the board.

17 Yeah, and then just last, I think on the
18 final bullet there you should, I would suggest,
19 just remain open to many supplies of the
20 feedstock, whether it's renewable electrons or
21 the grid of renewable molecules for vehicle
22 transportation. In this case, it seems like less
23 constraints are better than additional
24 constraints.

25 Thank you.

1 MR. EDWARDS: So Dave Edwards from Air
2 Liquide.

3 To come back to the question on landfill
4 gas, we think there's a balance to be played
5 between the cost of hydrogen we can offer to the
6 consumer and the ability to rapidly increase the
7 amount of renewables in our portfolio. And that
8 balance, really, is something we need to take a
9 careful look at.

10 Today, I believe that landfill gas to
11 hydrogen is probably the single largest source of
12 renewable hydrogen in our portfolio. And as we
13 go from thousands of cars to hundreds of
14 thousands of cars the challenge for renewable
15 hydrogen at the scale we need is going to become
16 increasingly challenged at a cost that's
17 competitive with existing fuels.

18 Along those lines, we do agree with the
19 state's position on not encouraging additional
20 landfills, non-separated landfills, for example.
21 But viewing existing landfills and existing
22 sources of methane within those landfills as a
23 renewable resource is actually the best steward
24 of those resources available, is to convert them
25 to hydrogen for transportation fuel, in our

1 opinion.

2 MR. BUTLER: No. Thanks for all the
3 comments, appreciate them. Certainly on this
4 topic, comments to the docket would be greatly
5 appreciated. And certainly, any sources of
6 information that would help drive the -- you
7 know, inform the policy call on this, so this is
8 where we stand today but certainly open to your
9 comments and appreciate them today.

10 MR. MCCLORY: Question. Maybe, John, you
11 want to keep that microphone.

12 Can you provide -- maybe just to clarify
13 a bit of a black and white answer, this seems
14 like a fundamental change from the last
15 solicitation of the last GFO. It appears that
16 it's restricting the ability to use purchased bio
17 credits, biogas credits that may have come from
18 landfills outside the state. Is it -- is this
19 proposal or the concept drafts -- drafts concept
20 document saying now that that is no longer
21 eligible?

22 MR. BUTLER: I'm going to kind of look to
23 Jean for the answer to that one as compared to
24 the last GFO.

25 MS. BARONAS: It's still eligible.

1 This is Jean Baronas with California
2 Energy Commission.

3 Still eligible. The purchase of biogas
4 credits from out of state is still eligible as a
5 feedstock in California.

6 MR. MCCLORY: Could you -- this is Matt
7 with Toyota.

8 Could you please clarify then how that --
9 how your response interacts with the statement in
10 the document regarding landfill gas? I guess
11 maybe I missed that and I apologize that I missed
12 it.

13 MS. BARONAS: Give me a second. Let me
14 pull up the text.

15 MR. MCCLORY: It's on page 25 at the top.

16 MS. BARONAS: It may be eligible. Is
17 that the phrase that bothers you under 27,
18 "Systems using other waste biomass feedstock,
19 such as biomass, waste or residues, may be
20 eligible if the applicant demonstrates the
21 proposed system?"

22 MR. MCCLORY: This is Matt with Toyota.

23 So if -- in the preceding sentence
24 there's a statement on excluding landfill gas.
25 And so if the biogas credits are coming from

1 landfill gas that's out of state or a biogas
2 that's made up of some part of that, is that --
3 how do those reconcile each other?

4 MS. BARONAS: You can't use them if they
5 contain landfill gas biogas credits, any portion
6 thereof.

7 MR. EDWARDS: So this is Dave Edwards
8 from Air Liquide again.

9 So just to be clear, so feedstock from
10 landfill gas, whether that's done through a
11 credit process or directly used within the state
12 of California, they will not be eligible the way
13 it's written?

14 MS. BARONAS: That is correct. Jean
15 Baronas, California Energy Commission.

16 MR. CAZEL: Any other comments on this
17 topic?

18 MR. BONNER: Brian Bonner from Air
19 Products.

20 Just to build further on that, the
21 question is that if there were previous
22 solicitations that were awarded funding that
23 allowed for landfill gas to be able to meet the
24 renewable requirement, will they still be able to
25 use that landfill gas to satisfy the renewable

1 requirement going forward?

2 MR. CAZEL: Yes, they would. It would
3 play under whatever the rule was that the funding
4 came from. So if it was a prior solicitation
5 that allowed it, then it would be allowed for
6 those stations that were constructed under that
7 rule.

8 MR. BONNER: Thank you.

9 MR. CAZEL: Okay, so another requirement
10 will be participation in R&D projects. This
11 doesn't mean you have to come up with a proposal
12 for research and development project but we want
13 each applicant to include a statement that says
14 they will commit themselves to participate in any
15 R&D projects that come along from the USDOE,
16 other national agencies, or state or local
17 research. So this is more making your station or
18 your data available to help the good of the
19 industry.

20 And now we'll go into screening and
21 scoring.

22 So beginning with screening criteria,
23 these are the elements that will determine
24 whether an application even moves forward to be
25 scored, so these are pass/fail. So the way

1 they're listed, they have the section and the
2 page. So the station has to -- or the
3 application has to provide project requirements
4 and eligibility that allows us to say it passes
5 this.

6 The applicant has to be determined to be
7 an eligible applicant.

8 The statement that the applicant will
9 participate in Hydrogen Safety Panel reviews has
10 to be there.

11 And then the previous slide, same thing,
12 a statement saying that participation in
13 government research and development projects will
14 be part of the commitment.

15 So then as far as evaluation and
16 evaluation criteria and points, this is fairly
17 standard. The applications will be evaluated
18 using the evaluation criteria they have to score
19 at least 70 percent to be considered eligible for
20 funding. Proposals will be ranked according to
21 score.

22 And then if partial funding is offered
23 for a tranche or a batch, this is where we'll
24 have some back and forth between is the funding
25 available or do we need to offer a lower amount?

1 We'll work with the applicant to choose which
2 stations might be eliminated in their batch or in
3 their tranche so that they can still move forward
4 with the funding that's available.

5 And then tiebreakers, highest score. And
6 then we'll go through tranche budget, project
7 readiness, station performance, each of those
8 scoring criteria will act as a tiebreaker. And
9 the proposals will be recommended for funding in
10 rank order.

11 Again, this last line pertains to the
12 tranche. So the stations won't be scored and
13 ranked like they have been in past NOPAs. This
14 will be the applicant winning the tranche and
15 that's -- they'll be ranked first, second, third,
16 in that order.

17 And then here's a summary of the
18 evaluation criteria showing the possible points.
19 The highest weight is the budget, followed by
20 readiness and performance. And then the
21 remaining criteria with the lower weighting,
22 totaling 100 points possible.

23 And I'll go through each.

24 Go ahead. Question? Oh, sorry.

25 So I'll go through each criterion

1 individually for tranche budget; 20 points is the
2 weight given to this. And the evaluation will
3 look at the degree to which the project is cost
4 effective, and that's looking at both dollar per
5 station and dollar per kilogram.

6 And just to clarify from the discussion
7 we had earlier, when we say dollar per kilogram
8 and dollar per station, we meet state dollar, not
9 total project dollar, o that's 50 percent match,
10 50 percent Energy Commission funding. So all of
11 our scoring goes along those lines too. It's
12 Energy Commission collar per kilogram and per
13 station.

14 MR. LEIGHTY: Sorry. Just Wayne with
15 Shell. Just a clarification.

16 And it's Energy Commission dollars on the
17 equipment, since the Energy Commission dollars
18 are limited to equipment?

19 MR. CAZEL: Yes. Correct.

20 MR. LEIGHTY: Thank you.

21 MR. CAZEL: And then the second bullet
22 for the tranche budget will look at the benefit
23 cost score, and that's using greenhouse gas
24 emissions reduction per Energy Commission dollar.

25 Additional scoring points include match

1 funding, so the strength of the match funding.
2 The budget that includes estimates for taxes,
3 that may not be, you know, included in part of
4 the equipment. So the main one we run into is
5 the California Use Tax. When equipment is
6 imported to California, there a use tax that gets
7 attached to it.

8 And we want to have applicants describe
9 how they propose station upgrades, but then we
10 want them to specifically talk about the upgrade
11 as far as the difference between the existing
12 station's equipment and functionality with what
13 the upgrade will provide. So is that better
14 dispensing, more back to back, more fueling
15 possible? Whatever that includes, we want to be
16 able to look at the difference between not just
17 the total improvement of the station at the end.

18 MR. JONES: Hi. Steve Jones, ITM Power.

19 That upgrade one is there potential
20 criteria, as well, price at pump?

21 MR. CAZEL: No.

22 MR. FORREST: Good afternoon, Matt
23 Forrest, Mercedes Benz.

24 I'm curious, in regard to the tranche in
25 the first batch that you'll be using for the

1 scoring process, in instances where there might
2 be a potential for a station project relocation,
3 as we've seen in the past, how is that going to
4 be handled or essentially dissuaded, giving --
5 given the fact that it is scoring relative? Can
6 you kind of share the plan for that?

7 MR. CAZEL: Good question. Yeah. We're
8 looking there at how do we score the initial?
9 But then your question is: What do we do if
10 something changes; right?

11 Yeah, we've looked at some internal
12 scenarios. We're still working with, you know,
13 our internal legal processes. And if you have an
14 idea, if you have some input to that process, go
15 ahead and submit it to the docket. That's
16 something that's more of a future, right, what
17 if?

18 MS. BARONAS: Well, it's Jean.

19 Would you ask Matt Forrest to repeat his
20 question?

21 MR. FORREST: Sure. The question was: In
22 regard to the tranche and the scoring of which,
23 which will also look at the first batch, I'm
24 wondering in particular if a station needs to be
25 relocated due to a viability issue, given that

1 it's scoring relevant, in terms of approach, how
2 are you going to dissuade or disincentivize the
3 relocation of the station that, essentially, may
4 or may not be completely viable in its repose?
5 Is there a mechanism that you have in mind for
6 the solicitation process?

7 MR. CAZEL: Okay. Thanks for the
8 question.

9 So for project readiness, applications
10 will be evaluated based on information that
11 describes how the station is properly zoned,
12 timelines for achieving planning approval, steps
13 that have been taken already, you know, how far
14 down the road is the permitting process,
15 including CEQA. And this is more important for
16 the initial batch of stations because the
17 subsequent batches have not been named yet. And
18 the application will also be evaluated for, as I
19 said, how many steps down the road has the
20 station made it toward permitting?

21 How strong is the documentation? Is it
22 just, you know, a story that you heard, it's
23 going to easy or is there some concrete evidence
24 that shows that steps have been taken and it can
25 be relied on?

1 So the same information will be required
2 for subsequent batches. We want that milestone
3 one and two completed, which includes meetings
4 with the AHJ and site control.

5 Other bullets under project readiness
6 that will be scored have to do with the design
7 for the initial batch and how it relates to
8 traffic flow in the station, within the station
9 and going in and out of -- onto the street. And
10 again, the same information will be required for
11 future batches.

12 MR. ELLIS: Just a question on that.
13 When you -- I understand ingress, egress, things
14 like that. That's always an important part of
15 what we've lived with, with the current stations.

16 But foot traffic, I just want to make
17 sure I understand, is this in reference to foot
18 traffic on the sidewalks or foot traffic at the
19 station itself? What is being defined there?

20 MR. CAZEL: Yeah, it could relate to
21 either. This is taken from, you know, instances
22 where we've seen designs in the Planning
23 Commission phase get kicked back because they
24 didn't do a property study of how are people
25 going to walk from their car to the convenience

1 store without getting run over by, you know, a
2 car that's going somewhere else that doesn't seem
3 to be a fueling island, that kind of thing.

4 So we're trying to pull out these points
5 of, hey, did you think of this?

6 MR. ELLIS: Okay. Thanks.

7 MS. BARONAS: May I, Phil?

8 Jean Baronas, California Energy
9 Commission.

10 So just based on the past eight years now
11 of watching the permitting flow, having diagrams
12 that show how pedestrians will be walking around
13 the station, in light of the fact there may be
14 new deliveries coming in that weren't coming in
15 before, large trailers of gas or liquid, and I've
16 seen a number of permitters hold back permitting
17 because there was no yellow brick road. There
18 was no path to follow through the station that
19 the permitter could take and trust would allow
20 for people to walk through the station with this
21 new dispenser and all the gear that goes along.

22 So it sounds benign but super important
23 to the permitting agencies, is what we're
24 thinking.

25 MR. ELLIS: No. Thanks, Jean, for that

1 additional clarification from your perspective of
2 that permitting challenge that existed. It just,
3 it had me wondering how that differs from what
4 people do at gas stations today. So that helps.
5 Thanks.

6 MR. CAZEL: Okay, and then, also, project
7 readiness will be evaluated you on the plan for
8 connecting utilities, which was mentioned a
9 couple times already. This is looking for the
10 overall plan, not necessarily each specific
11 station but is there a plan? You know, what's
12 your timeline for approaching the utility,
13 getting them -- getting on their schedule,
14 getting them onboard?

15 MR. SLOTH: Is it possible to apply just
16 for one batch and not have a tranche of multiple
17 batches?

18 MR. CAZEL: Yes. We would still consider
19 it a tranche. It would be a tranche of one
20 station with the initial batch of one station.
21 Yeah.

22 So then another readiness scoring point
23 is that the application includes information
24 about the supply, so what's the primary, what's
25 the backup? I think we've talked about that.

1 And then, what's the schedule? Is the
2 schedule reasonable? Does it get the stations
3 built in a realistic timeline? And this will be
4 looked at for the batch and for the entire
5 tranche.

6 For hydrogen refueling station
7 performance, this is one of the 15-point
8 criterion, the performance will be evaluated on
9 meeting the minimum requirements and exceeding
10 those, so for capacity, and also for the minimum
11 technical requirements, and also the degree to
12 which the station can be scaled up. So can the
13 capacity be easily increased to meet the needs
14 without coming back for additional funding? And
15 are the hours maximized for operation? And that
16 would include lighting. So we through that all
17 in one bullet. And overall, does the plan --
18 does the station optimize the customer
19 experience? So is it safe, convenient, open when
20 they need to be there, able to fuel back to back
21 when there's high demand? All of those go into
22 that.

23 So approach to station selection is kind
24 of a new concept. It's been in bits and pieces
25 before but this is its own criterion for the next

1 solicitation. And what we're looking for is, you
2 know, is the plan to select the station sites and
3 put the right sized station in the right place
4 result in a successful station? So is it going
5 to be financial -- or financially self-
6 sufficient? Is it going to be able to provide
7 fuel to vehicles and customers when they need it?
8 Is it going to be the right size based on the
9 map? And does it complement the existing
10 network?

11 So also in this criterion, we'll be
12 evaluating how the station selection sites align
13 with the OEM priority station letter. I know
14 this link is the older letter. And my
15 understanding is today a new version of this
16 letter was submitted to the docket, so we'll be
17 updating this criterion to use that new letter.

18 And then how does the station selection
19 and the site relate to the possibility of fueling
20 a fleet or any other type of, you know, fleet-
21 type base that could support the station and
22 increase the number of vehicles serviced?

23 MR. PARK: David Park with the California
24 Fuel Cell Partnership.

25 And, yes, we did indeed submit the

1 updated OEM recommendations to the docket. And
2 we also posted that letter on our home page to
3 our website.

4 MR. CAZEL: Yeah. Thank you. So since
5 that has been posted to the docket, it's
6 available for anybody to come to the Energy
7 Commission website and find it there, as well.

8 So the criterion for qualifications of
9 the applicant, this is very similar to what it's
10 been in the past. The evaluation will look at
11 the level of experience with high pressure gas,
12 specifically hydrogen.

13 We'll look at the team or team members'
14 experience in cost accounting and financial
15 control, things like commercial real estate which
16 has become more and more important because of the
17 viability of some sites that seem to fall out.

18 And experience with permitting for
19 hydrogen or other types of alternate fuel
20 stations, equipment procurement, supply chain
21 management, all of those will be evaluated.

22 And then also the degree of experience
23 that the team has in project management in
24 general, hydrogen specifically, including getting
25 fuel to where it belongs in time.

1 And then what kind of experience for
2 planning maintenance, whether it's planned
3 maintenance of, you know, surprise maintenance,
4 to help the station maintain itself in an
5 available state.

6 MR. SLOTH: The project team, is that
7 only employees at the applicant or can it also be
8 employees from suppliers or other product
9 partners?

10 MR. CAZEL: Yeah. So this could include
11 anyone who has something to do with the station.
12 If they're a subcontractor, if they're, you know,
13 a team member, because they're supplying the
14 equipment, they could be included in this in
15 order to make the qualifications. So you don't
16 have to have, you know, a staff real estate
17 agent, but you could have one of your team
18 members that is.

19 So then, also, we'll look at what's the
20 degree of experience in communicating status of
21 the station, responding to customer needs,
22 complaints, customer service?

23 And then as we mentioned in the letters
24 before, we're going to be looking for referrals
25 from subcontractors, preferably that are

1 positive. I don't know why you would send a
2 negative referral.

3 MS. BARONAS: That's the second funny
4 thing today.

5 MR. CAZEL: Wow. Tough crowd.

6 (Laughter.)

7 MR. CAZEL: Safety protocols and
8 procedures will be evaluated on the degree to
9 which the Hydrogen Safety Plan seems to be
10 complete. As mentioned earlier, we know that
11 these won't be in, you know, a final state
12 because this is early in the project, but we want
13 to see that it's able to be fine-tuned and can,
14 you know, be modified easily to fit the exact
15 station design as it comes up.

16 MR. SLOTH: Will the CEC assessment of
17 the Safety Panel be based on the feedback from
18 the Safety Panel? And if so, how do you handle
19 that? Members of the Safety Panel can also be
20 potentially or also the employees of advocates or
21 competitors.

22 MR. CAZEL: Yeah. So the question is:
23 How will the Safety Panel evaluation be used?

24 So in the last solicitation, and we'll do
25 the same for this one, the Safety Panel is made

1 up of, you know, a wide variety of people from
2 different companies, different industry members.
3 Those who are directly, maybe competitors or
4 maybe too close to the solicitation process, will
5 recuse themselves from being a judge, so to
6 speak. But what we're looking for is more the
7 completeness of the plan. Does it have the
8 elements that we asked for? Does it follow the
9 guidelines and at least include, you know, the
10 things that should be in a good Safety Panel,
11 knowing that it's going to be worked on as a work
12 in progress as the stations start to roll out?

13 So then this last bullet here, we're
14 looking for, you know, experience working with
15 first responders. Kind of self-explanatory.

16 We'll also be looking for, you know, a
17 description provided by the applicant saying how
18 their plan will, you know, continue to stay
19 current with safety protocols and procedures.
20 Both of these bullets kind of relate to that.

21 So for operation and maintenance, we'll
22 be looking at the plan, the required Operations
23 and Maintenance Plan. And it will be evaluated
24 on the degree to which it addresses all of the
25 bullets that we're looking for. So we want to

1 know the cost of the equipment. How does the
2 LCFS program play into their plan? Can the
3 station, you know, be supported by itself? And
4 also, how does the Operations and Maintenance
5 Plan address, you know, station uptime, response
6 time for maintenance, and how things will be
7 dealt with if the station has a failure?

8 Social and environmental benefits will be
9 evaluated based on, you know, what benefits are
10 coming from the station to California-based
11 businesses. What kinds of jobs will the station
12 bring? What kind of full- and part-time jobs?
13 And then, you know, how will those jobs including
14 disadvantaged communities play into, you know,
15 the overall benefit of the station? Whether it's
16 in a disadvantaged community or not, it could
17 provide air benefits, it could provide employment
18 benefits.

19 And what is the plan for dispensing
20 renewable hydrogen? So does it exceed the 33
21 percent renewable minimum? Does the plan seem
22 viable? Is it reasonable? And then is renewable
23 electricity used for power at the station?
24 That's an additional environmental benefit.

25 MR. SLOTH: So system power is station --

1 power consumed at the station, basically?

2 MR. CAZEL: Yes. System power, we're
3 thinking of compression, chilling, things that
4 happen at the station after the hydrogen is
5 produced and delivered.

6 And how do other practices that help the
7 environment, you know, get included in the
8 construction process or in the planning process?

9 And then does the station's plan include
10 plans, you know, to recycle materials that may be
11 used during construction? And is there a way for
12 the station or its equipment to integrate itself
13 into the grid's curtailable renewable resources
14 increased renewable hydrogen use? Those sorts of
15 things.

16 Okay, so that was the last of the scoring
17 criteria. Any questions on those specifically?

18 MR. ELLIS: Steve Ellis at Honda. Go
19 back one slide, if you don't mind please?

20 Oh, when I read this second bullet,
21 energy storage, you know, that's a large-scale
22 pathway, you know, to cost reduction and other
23 great benefits. But when it says, "or use as
24 curtailed renewable energy as a source for
25 renewable hydrogen," I can't help but think back

1 to this earlier comment about the landfill gas,
2 hence the value of the landfill gas. You know,
3 one of the big ones that was identified was to
4 take something that otherwise would have been
5 released to the atmosphere and now do something
6 good with it for a net savings in, you know, GHG
7 production.

8 So I just, I want to point that out, more
9 or less, that these are diverging goals. Doing
10 something like that, sometimes you think of it
11 simply as a fairness issue. Is it fair to tie
12 the hands of one well-known and previously
13 identified supply of making good with something
14 that otherwise would not be? I just wanted to
15 put that out there.

16 Thank you.

17 MR. CAPPELLO: Joe Cappello with Iwatani.

18 Does the selection criteria favor one
19 hydrogen production method over another?
20 Meaning, does onsite hydrogen production at the
21 station get a favorable weighting versus
22 delivered hydrogen?

23 MR. CAZEL: No, not necessarily. You
24 know, I mean, we didn't design it for that. So
25 that's not what we're looking for, in other

1 words.

2 Okay, we're getting somewhere now.

3 So for regulations and standards, there's
4 a number of regulations and standards in Section
5 33, pages 31 and 32. And those all begin with
6 "The stations shall comply with," and so these
7 are the minimum technical requirements and those
8 sorts of standards. They're listed in the
9 reference slides after the end of the
10 presentation. They're also all listed exactly the
11 same in the document. I didn't want to list them
12 all here because they're kind of redundant to
13 what we've talked about in the minimum technical
14 requirements. But if anyone has looked with
15 those, has any issues with any of those, we can
16 pull it up and see where we go.

17 Other regulations and standards, the
18 applicant shall submit reports of unintended
19 releases to the CUPA, and also complete any other
20 required federal reporting. That can be --
21 information on that can be found at these two
22 links.

23 And then I have images of the appendix
24 that's at the back and I'm just going to flip
25 through these.

1 So this -- Appendix A is the mapping
2 you've seen. These are the existing stations in
3 their various forms of development.

4 Appendix B is our list of funded
5 stations.

6 Appendix C has the NREL data collection
7 tool as a sample.

8 This is the complete Appendix D. It's
9 the open retail checklist, so it has the minimum
10 technical requirements all laid out with a spot
11 to check the box and then sign, yes, we did
12 these. This is required for open retail status.

13 And then Appendix E, the HyStEP
14 checklist, this has changed from time to time.
15 This is the current version, things that the
16 station needs to be ready for, for HyStEP to
17 come.

18 And then we're on to written comments.
19 So this is the link to send electronic comments
20 to the docket. And we encourage anybody who has
21 commented today verbally to follow up with more
22 detail, if you wish. For those of you that we
23 requested please do it, please do it.

24 So final comments are required by
25 February 22nd at 5:00 p.m. and this is the link

1 for that. And I'll leave this slide up while we
2 have any final questions on anything that was
3 presented today. And then after this, we'll go
4 to public comment period where, if there are any
5 closing remarks anyone would like to make, we'll
6 do that next.

7 So questions?

8 MR. MCCLORY: This is Matt with Toyota.
9 Just a question in response to the previous
10 comments.

11 Regarding the desire to scale up to a
12 large number of stations in the network and
13 understanding some of the, perhaps, new criteria
14 for biogas or renewable hydrogen definition
15 criteria, is there an opportunity to have a
16 deeper review of how to achieve kind of both
17 objectives and the feasibility of that as part of
18 this process?

19 MR. CAZEL: So comments that are
20 submitted to the docket allow us the opportunity
21 to look at that and then ask for more feedback.
22 So that opens the communication a little bit that
23 way. If it becomes something that we think would
24 be more beneficial to do that in a workshop
25 setting, then that may be the venue that we would

1 do that. But I would encourage you to send your
2 comments and concerns in. That gets the ball
3 started.

4 MR. SLOTH: Just a question or a comment
5 on the slide showing the NREL data. Maybe it
6 would be worth considering having a process with
7 NREL to maybe update the tool now, taking into
8 consideration that the data ought to be collected
9 for five years. So maybe there are some data
10 that are all relevant to collect than other data
11 looking at that timeframe, because that means the
12 last data will be collected sometime in 2026 when
13 there are ten thousands on the road, hopefully.

14 So maybe, you know, some data points are
15 not that relevant out in time and that could
16 maybe help reduce the resources required for the
17 reporting. Also, a new reporting format may also
18 open up for ways to make that automatic, like
19 with sources and automatic signal. Maybe some of
20 the KBIs [Key Business Indicators] could be done
21 in a similar way.

22 MS. BARONAS: Mikael, thank you.

23 This is Jean Baronas, California Energy
24 Commission.

25 So even if it's a rough description of

1 the fields that you find out of date or not
2 necessary going forward the next five years,
3 please send that to the docket. Because we just,
4 last week, started to look at all those fields
5 and ask ourselves, you know, whether or not, you
6 know, the cost benefit of companies sending that
7 material, all of that material to us. And then
8 as mentioned earlier, a new field should be now
9 mandatory instead of voluntary. So there's a
10 cleanup need. We know there's a need.

11 So even if it's a list or if you cut and
12 paste the different worksheets from the tool and
13 put it in the docket and say, don't need, don't
14 need, that would be fine. Anything informal as
15 input would be really great.

16 Thank you.

17 MR. JONES: Hi. This is Steve Jones from
18 ITM Power. Just a quick question, or a comment
19 really.

20 With the tranche setup, presumably it's
21 possible for this first round of \$20 million to
22 be split three ways. Three applicants come in at
23 the maximum cap and have a tranche. And so,
24 essentially, three supplier are going to be
25 building stations for California for five years;

1 is that correct?

2 MR. CAZEL: That's possible, yes.

3 Okay, so we'll go to public comments. So
4 this is more of a, you know, gives us your three
5 minutes' worth of comments. So we had four
6 different people put in a blue card, so I don't
7 know that we need -- no, five, so I don't know if
8 there's a preferred order. There's not going to
9 be a line out of the door. Well, now it's
10 getting longer, so -- but -- so you can stay at
11 your seat, you can go to the podium, whatever you
12 want. We'll give each person three minutes and
13 we'll do the public comment section.

14 If there's anyone online -- is there
15 anyone online that wants to make a public
16 comment? Okay.

17 Okay, so let's go ahead and start, so
18 whoever wants to go, we'll let you guys decide,
19 since there's a handful.

20 MR. PARK: I can go first. All right.

21 MR. CAZEL: Okay. Go ahead.

22 MR. PARK: This is Dave Park with the
23 California Fuel Cell Partnership. And I want to
24 say on behalf of the members of the Partnership,
25 we're very appreciative of the vision that -- and

1 leadership the CEC is showing. Certainly, I've
2 heard from the members a resounding -- we
3 expressed our interests and desires to CEC and
4 are very pleased with the current form of the
5 GFO. And we appreciate the opportunity to
6 provide feedback and just as a partnership
7 organization, just make it an even stronger
8 package.

9 And this -- and you know, continuing in
10 the spirit of partnership, we have published a
11 revised set of OEM station location guidelines.
12 We submitted that to the docket yesterday and it
13 was accepted today, so thank you very much for
14 that. There are a 114 locations total that were
15 submitted in two different groups, 56 group one
16 and 58 group two locations, and I'll get into
17 those details in a few seconds.

18 But overall the focus is to improve
19 station density and to expand network coverage.
20 We are looking at increasing density in major
21 cities, so the existing locations in San
22 Francisco, Los Angeles, Orange County, the Inland
23 Empire and adjacent areas, and we're also looking
24 at seeding the San Diego market to initiate and
25 grow that market. Our desire would be a minimum

1 of three stations in the San Diego region.

2 We're looking at expanding network
3 coverage in the Central Valley, the Central
4 Coast, and then also a feeder into Las Vegas.
5 And Las Vegas is contingent on -- well, the
6 feeder into Las Vegas is contingent on
7 establishing a location in Las Vegas.

8 And then we -- I did mention, we have
9 group one and group two. Group two are all
10 equivalent priority locations. There's no order
11 to that group. We think that those 58 locations
12 just absolutely need to be populated with
13 hydrogen fueling. In group two, we've binned
14 those stations into three bins, one through
15 three, just to give a sense for what the order or
16 priority, as we aggregated the OEM priorities,
17 the individual priorities.

18 So I see I'm coming to the close of my
19 three minutes, so thank you very much, appreciate
20 it. And I will be happy to facilitate any
21 conversations with the OEMs.

22 MR. CAZEL: Thank you.

23 Anyone volunteering to go next or do we
24 need to pick a card.

25 (Timer rings.)

1 (Laughter.)

2 MR. JOHNSON: Andrew Martinez from CARB.

3 MR. MARTINEZ: If there are other OEMs
4 who are going to discuss the letter first, then I
5 would prefer to go after them.

6 MR. JOHNSON: Wayne from Shell.

7 MR. LEIGHTY: Hi. It's Wayne Leighty
8 from Shell Hydrogen.

9 First, thank you. This solicitation
10 counts as a big step forward in structure that
11 may help to enable the scale and pace needed for
12 hydrogen to contribute meaningfully to
13 California's emission reduction goals. It is
14 innovative and appears to be seeking the shared
15 objective of accomplishing the most possible with
16 available fund and authorization toward a viable
17 market for hydrogen fuel cell vehicles and
18 California emission reduction goals. We support
19 this objective.

20 The combination of LCFS capacity credits
21 adopted last year by the ARB and this GFO
22 structure should send a strong signal to those
23 who would bring fuel cell vehicles to market,
24 those who would invest in hydrogen supply, and
25 customers who would consider a fuel cell vehicle

1 as the buildout of the fueling infrastructure and
2 the customer value proposition. That growing
3 market confidence is important.

4 These are important steps and pivots in
5 policy from demonstration to supporting pre-
6 commercialization. It is also imperative that
7 industry uses these supportive structures to
8 deliver scale, performance, cost improvements in
9 the infrastructure and the fueling network to
10 accelerate the customer adoption of the fuel cell
11 vehicles.

12 So we will submit some comments to the
13 docket from that perspective to help ensure these
14 desired outcomes.

15 As just a little bit of explanation, I
16 think there are few themes that came up today.
17 Efficient, cost effective, timely delivery of the
18 stations, the structuring of batches and
19 tranche -- batches within a tranche, I think is a
20 very innovative structure. Maybe there's a few
21 tweaks that we would suggest.

22 The competitive structure in the scoring
23 and some other elements I think should deliver
24 some outstanding results. It's also important
25 that we encourage a strong set of applications.

1 We have a few thoughts on that balance.

2 Generally, this is big, allowing
3 sufficient time to prepare for all the applicants
4 may be important. The timing between a
5 solicitation and when applications are due should
6 be considered.

7 Administrative simplification is a key to
8 the overall cost reduction and timely delivery of
9 the infrastructure. There's some great elements
10 in here directed toward simplification and we
11 have a few other comments to make.

12 And finally, this appears to be
13 decreasing direct public funding toward
14 infrastructure in something of an offramp toward
15 viable market conditions. These are things that
16 have been discussed in other venues. In my mind,
17 that implies decreasing public involvement,
18 decreasing requirements toward the Energy
19 Commission. What I see in some of the latter
20 half of today is increasing requirements. So
21 some of our feedback will be in that vein.

22 Today was a very high-quality workshop,
23 so thank you very much.

24 MR. JOHNSON: All right, next up is Steve
25 Ellis from Honda.

1 MR. ELLIS: Great. Thanks. Thanks again
2 for putting out a well thought out draft of the
3 ideas that have bubbled up. And you know, I
4 think, Jean, you remember years ago, I said to
5 keep this annual (indiscernible) continuous
6 improvement. So I see, you know, good work put
7 into that.

8 Again, my name is Steve Ellis, speaking
9 on behalf of American Honda based on Torrance,
10 California, and a longstanding history of
11 deploying the hydrogen fuel cell vehicles.

12 When I first, you know, reviewed this, I
13 first saw the \$110 million number and I got a
14 little excited. I'm thinking, wow, this is a
15 response to the governor's executive order,
16 doubling down to 200 station and \$93 million.
17 But then of course through reading further and,
18 of course, today, understanding that it's really
19 not. So I do want to emphasize that, you know,
20 just really embrace the idea that the executive
21 order tried to accomplish what industry was
22 asking for, which was to accelerate the stations.

23 I'm one of a few people that were in the
24 room that developed the first number when we were
25 asked how many stations were needed to launch

1 vehicles? And I won't get into the specifics of
2 that but simply say that we are clearly behind,
3 we're significantly behind where that was
4 intended to be at that time. So it is fair to
5 say that we do -- would encourage some effort to
6 catch up.

7 AB 8 report clearly shows that there's
8 this crossover point in the future. And right
9 now we just don't want to see that, those lines
10 meet where we start running out of hydrogen
11 compared to the demand on the stations.

12 So as far as the funding match, you know,
13 from 15 percent requirement to 50, I would just
14 offer that that's quite a leap in both fact and
15 concept. And simply put, it just begs the
16 question: Why such a big leap and why not
17 something more like 40 percent or 33 percent,
18 something like that? So please consider that.

19 Similar with no more O&M, that's a big
20 shift, that's a big change from in the past. So
21 I would just pose a question: Why not, you know,
22 just reduce the time of that or cut the dollars
23 or something like that? But to go from having
24 O&M to none is a big shift.

25 And you know, in the context of the fact

1 that we're just now beginning to build some
2 momentum in the market, so it's very fragile, no
3 different than as in nature. Those that are
4 young and still immature are more fragile and
5 need nurturing along the way. And I would offer
6 that just be careful that getting this wrong can
7 have unintended consequences.

8 And finally, you know, why? At the end
9 of the day, it's about customers and our
10 customers. And you know, we can do all the math,
11 we can look at what we've done and how we've done
12 it and what's working and what's not but, you
13 know, I'm also here today to speak of them.

14 And it's troubling to us that we still
15 have customers that are having to wait in line to
16 get fuel when they expect not to. This is not
17 pulling into Costco and purposely waiting in line
18 for the fuel on a weekend day. That's what
19 people choose to do. But people have busy lives.
20 They expect these vehicles to operate just like
21 they did their traditional gasoline vehicles, and
22 that's the model. And we have a need for more
23 stations and available kilograms and to see that
24 accelerate.

25 The other is we also listen carefully to

1 our dealers. And when we have dealers that say
2 they have customers that are going to hold off
3 until the station network is more robust, that's
4 troubling. And at the -- and the worst case, and
5 this is true for, let's just say, all vehicles
6 and we lived in this with battery-electric
7 vehicles where people lease or purchase vehicles
8 expecting a certain thing but then it doesn't
9 play out as well as they thought, so they may
10 terminate their lease or turn the vehicles in
11 early. Right now, we do have cases of that
12 occurring solely because of station network being
13 more challenging to them than they expected it to
14 be, and so that hurts. It's tough to see and
15 hear that from people.

16 Positively, some of them say, hey, I'll
17 be back when you get this fixed. But today, they
18 may be pioneers, they may be trailblazers, you
19 can call them what you want, but everyone has a
20 limit or tipping point that pushes them over the
21 edge.

22 So these are my comments today. I again
23 appreciate all the hard work that's gone into
24 this. I know that these are tough, tough things
25 to develop and work on, but thank you for your

1 good work and look forward to how this plays out,
2 accelerating additional stations.

3 Thank you.

4 MR. JOHNSON: All right, next up is Dave
5 Edwards from Air Liquide.

6 MR. EDWARDS: Good afternoon. I'm Dave
7 Edwards from Air Liquide.

8 First off, I'd like to thank the CEC and
9 the stakeholders in the room. The proposed
10 concepts are clearly a reflect of a lot of hard
11 work, a lot of effort over the last 18 to 24
12 months, both on the CEC side and from our side on
13 providing inputs. And I think the quality of
14 this process is reflected in the collaborative
15 approach that's been taken from the beginning of
16 the document, so thank you very much.

17 Today, I'd like to limit my comments
18 specifically to those about the proposed
19 requirements for renewable hydrogen. We are
20 going to request through a letter that the
21 restriction on landfill gas as ineligible
22 feedstock for renewable hydrogen in the proposal
23 be removed. As an industry, through the
24 commitments of the Hydrogen Council, we are fully
25 dedicated to 100 percent decarbonized hydrogen

1 permeability by the year 2030 on the order of 15
2 years faster than we would be able to see from
3 battery-electric or a grid-based production, for
4 example. But success along this renewable
5 pathway requires policy and market landscapes
6 that enable the transition, leveraging all the
7 mechanisms and the resources that we have
8 available.

9 At this critical point in the market
10 transition, we would significantly restrict the
11 market, jeopardize the state's transportation
12 goals, and bring the consumer unnecessarily high
13 fuel prices if we don't think collectively and
14 cautiously about the kind of restrictions we put
15 on our fuel supply.

16 Given this, we're encouraging the CEC to
17 continue to consider all reduced carbon hydrogen
18 pathways as eligible in this program, and in
19 particular the restriction of landfill gas as
20 ineligible feedstock may unnecessarily eliminate
21 the single largest and lowest-cost source of low-
22 cost hydrogen -- or low-carbon hydrogen available
23 in the U.S. market today.

24 Landfill is sourced from existing sites
25 and, when converted to hydrogen fuel, provides

1 the market with an excellent use of this waste
2 stream from both an economic and environmental
3 perspective. Without this feedstock, we are not
4 convinced that there will be sufficient, low-cost
5 renewable hydrogen available on the market from
6 other RNG sources or from renewable electricity
7 in order to meet the state's renewable targets.
8 As the market grows from today where we have tens
9 of stations and thousands of cars, we're going to
10 be challenged with that renewable feedstock
11 stream as we move to tens of thousands of cars,
12 hundreds of thousands of cars, with a target of
13 million vehicles by 2030, for example.

14 While we understand and support the
15 state's position regarding the funding of new
16 landfill projects, we believe that the use of
17 landfill gas itself from existing sites is a
18 responsible use of this resource and consistent
19 with the state's goals. We're going to request
20 formally that this restriction on landfill gas as
21 ineligible feedstock be removed from the
22 requirements.

23 Thank you very much for your time.

24 MR. JOHNSON: Matt McClory, Toyota.

25 MR. MCCLORY: This is Matt McClory with

1 Toyota. Thank you for the opportunity to
2 comment.

3 On behalf of Toyota, we very much
4 appreciate the work of Staff to develop the new
5 Draft Concepts document, we feel that this
6 document positively reflects the discussion in
7 formal workshops. And we recognize that there
8 was significant effort put into this process.

9 In order for Toyota to expand our sales
10 volume and to prepare for the next generation
11 increased production rate of the vehicle, there
12 needs to be a significant increase or scale-up
13 and acceleration to the buildout of the fueling
14 coverage, in addition to new capacity. And this
15 also includes the addition of redundant stations
16 in areas that have stations today. These are key
17 points in order to allow the increased volume of
18 sales.

19 The recent OEM letter from the
20 Partnership supports this approach to award a
21 large block of stations. Therefore, we strongly
22 encourage the approach to build out 100 or even
23 over 100 stations in the next GFO. And I can't
24 underscore enough that this type of future award
25 announcement is critical to show the report to

1 future fuel cell vehicle customers, as well as
2 existing fuel cell vehicle customers, to stay in
3 the vehicle who want to be able to upgrade to the
4 next vehicle.

5 And then towards this, to enable this
6 type of scale-up, we'd recommend the
7 consideration to increase the cost share funding
8 and/or single applicant award funding limit to
9 enable this type of network scale-up and
10 acceleration.

11 In addition, as previously mentioned,
12 we'd recommend that the -- that there be added
13 key design metrics to the future solicitation
14 that includes things like state of charge and
15 maximum time between back-to-back fills, as well
16 as peak fueling performance.

17 In addition, to recognize that there's a
18 dynamic nature of site locations in the awards,
19 there should be language in the solicitation that
20 define the process for site relocations. At a
21 minimum, these should be based on the same
22 criteria as in the Draft Solicitation document
23 today. But if an additional process is needed,
24 then we would recommend that a review process or
25 scenario be considered.

1 The other part is that the criteria in
2 the solicitation should also support the decrease
3 in customer retail price at the pump. And the
4 approach, as an example, for new feedstock is a
5 part to this topic.

6 Going into a little bit of detail in
7 regards to the minimum number of fueling
8 positions, the requirement for three positions
9 for the capacity growth for a classification area
10 may actually inhibit a proposal for stations in
11 these areas.

12 As an alternative, we would promote or
13 recommend redundancy in competition and recommend
14 the idea of multiple stations to be considered
15 for the award and to reach that overall target
16 for the capacity.

17 And these comments will be included in
18 our written submittal. Thank you.

19 MR. JOHNSON: All right, last up is
20 Andrew Martinez from CARB.

21 MR. MARTINEZ: All right. So Andrew
22 Martinez from California Air Resources Board. I
23 want to make just a few quick comments on an auto
24 manufacturer-supplied letter from the OEM group
25 from within the California Fuel Cell Partnership.

1 Having received the letter also very recently, I
2 only have a few comments to make regarding it.

3 I do want to note, first of all, that the
4 entire list of all the locations on the letter,
5 they are in agreement with Figure 1 of the GFO.
6 So for those who are looking to the possibilities
7 of what -- how this letter is in alignment with
8 the GFO, it looks like all those letters would --
9 all those locations would be eligible areas.

10 We've also looked into how this letter
11 then matches up with what we published in our
12 June annual evaluation for AB 8. And I'm happy
13 to say that all of the areas are in agreement
14 with the priority areas that we had actually
15 published in that report. So if you're not
16 familiar with that report yet, we posted publicly
17 on our site. I don't have any with me today but
18 we also do have some hard copies, if that is of
19 interest to anybody.

20 And then because of the nature of how the
21 GFO Figure 1 was developed and how both agencies
22 have recognized over the course of many years
23 that this is iterative and collaborative process,
24 you know, that Figure 1 is developed based on the
25 California Fuel Cell Revolution document, so it's

1 looking towards the goal of 1,000 stations by
2 2030. And so a station list as an agreement with
3 that is a stepping stone on the way to getting to
4 that 2030 goal.

5 One thing that I do look forward to
6 hopefully having continued conversations with the
7 auto manufacturers and with, actually, all the
8 other industry members who would be involved in
9 the process, is that there are some locations,
10 there are several locations within the actual GFO
11 and the vision, especially say in the north state
12 or -- and within the Central Valley where we see
13 that there could be the possibility for perhaps
14 taking some of the stations and putting them --
15 you know, sprinkling a few out in the north state
16 and a few more within the Central Valley to
17 really get the dispersion that we saw would be
18 necessary or would be an opportunity within the
19 California Fuel Cell Revolution, and to meet some
20 of our DAC goals.

21 So I think that that's part of the
22 conversation that can continue going forward.
23 And I look forward to the opportunity for all the
24 industry members to provide their feedback and
25 provide their insights into how we can make sure

1 that, you know, all, the letter, the GFO, the
2 Revolution, all these methods of looking at how
3 do we build the most successful network, can
4 really come together and give us the best outcome
5 at the end of the day.

6 So thank you.

7 MR. CAZEL: So thank you very much for
8 all your comments. Thank you very much for your
9 input today.

10 And if there are no further questions,
11 this is, again, the link for written comments.
12 It's in the slides. It will be posted --
13 actually, it's posted in the workshop
14 announcement that's already online.

15 With that, I say we're adjourned. Thank
16 you again very much for your input.

17 (Applause.)

18 (The workshop adjourned at 2:54 p.m.)

19

20

21

22

23

24


25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 25th day of February, 2019.



Susan Palmer
Certified
Reporter
CERT 00124

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

February 25, 2019