

**DOCKETED**

<b>Docket Number:</b>	19-BSTD-01
<b>Project Title:</b>	Draft 2019 Alternative Calculation Method Reference Manuals and Compliance Software Tools
<b>TN #:</b>	227300
<b>Document Title:</b>	Transcript of 02142019 2019 Alternative Calculation Methods Reference Manual and Software Update Workshop for Residential
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	3/8/2019 1:06:16 PM
<b>Docketed Date:</b>	3/8/2019

CALIFORNIA ENERGY COMMISSION

In the Matter of:

Residential Alternative )  
Calculation Method Variable )  
Capacity Heat Pump Modeling )  
Approach )

---

PUBLIC WORKSHOP

WARREN-ALQUIST STATE ENERGY BUILDING  
FIRST FLOOR - ROSENFELD HEARING ROOM  
1516 9TH STREET  
SACRAMENTO, CALIFORNIA

THURSDAY, FEBRUARY 14, 2019

9:00 A.M.

Reported by:

Susan Palmer

## APPEARANCES

### STAFF

Larry Froess, Moderator, Senior Mechanical Engineer

Christopher Meyer, Manager, Building Standards Office

Bill Pennington

Bruce Wilcox

RJ Wichert

Peter Strait, Supervisor, Standards Development Unit

### PRESENTERS

Mazi Shirakh, Project Manager, California Energy  
Commission

Dee Anne Ross

Todd Ferris, Supervisor, Software Tools Unit

### PUBLIC COMMENT

Patrick Splitt, App-Tech, Inc.

Megan Cordes, ConSol

Pierre DelForge, NRDC

Joe Cain, Solar Energy Industries Associations

Bruce Severance, Mitsubishi Electric

George Nesbitt (via WebEx), Independent HERS Rater

Jeremiah Ellis, Duct Testers

Mike Hodgson (via WebEx), ConSol

Meghna Chowdary, SolarEdge

Mr. Yamasaki (via WebEx)

APPEARANCES

PUBLIC COMMENT

Cathy Chappell (via WebEx)

Eric Adair (via WebEx) Hearths, Patios and Barbecue  
Association

AGENDA

	<u>Page</u>
Presentations	
Mazi Shirakh	9
Dee Anne Ross	91
Larry Froess	93
Todd Ferris	118
Closing Remarks	138
Adjourn	138



1 workshop is being recorded.

2           For in-person participants, please sign  
3 in or staple your business cards to the sign-in  
4 sheet available at the table in the lobby.

5           We will post electronic copies of this  
6 presentation on the CEC website in a few days.

7           For WebEx participants, you will remain  
8 muted until you make a comment. Please use your  
9 hand-raise function during the public comment  
10 period to notify our WebEx coordinator that you  
11 want to make a statement. Online remarks will be  
12 taken after in-person comments in alphabetical  
13 order.

14           And for those in person making comments,  
15 please bring a business card to our court  
16 recorder or -- and state your name and  
17 affiliation before you begin speaking.

18           This is our general agenda for the day.  
19 We'll have a quick overview of the ACM manual and  
20 software. Then we'll get into the energy design  
21 rating, or EDR, discussion, photovoltaics and  
22 demand response. And then after that, we'll have  
23 a public comment period. Then we'll jump into  
24 envelope HVAC and water heating topics. And then  
25 we'll have a public comment period at that point.

1           It depends on how this presentation  
2 unfolds.  If it's -- if we're ahead of time, we  
3 may not break for lunch since that last, Field  
4 Verify, HERS provider file upload and  
5 miscellaneous, probably those are going to take  
6 15 minutes to 20 minutes to a half-hour.  So if  
7 we're at 11:30 and we're done with water heating,  
8 maybe we can just push through and not take a  
9 lunch, so we'll just have to see how that goes.

10           And I think our Office Manager,  
11 Christopher Meyer, wanted to make a few opening  
12 comments before we begin.

13           MR. MEYER:  Hello everyone.  Thanks for  
14 joining me.  I'm Christopher Meyer.  I'm the  
15 Manager of the Buildings Standards Office.  And I  
16 just wanted to say a quick thank you to everyone  
17 who's, you know, made the journey out here to  
18 help us, you know, have a better process.  And  
19 thank you everyone for all your help over the  
20 code development cycle for all the comments made  
21 in our rulemaking process and the communications  
22 you've had with our staff to make sure that the  
23 end product has been as good as possible.

24           And just to give you sort of a message  
25 from Commissioner McAllister, who's our Lead



1 Commissioner and who's been guiding and  
2 supporting us throughout this process, that, you  
3 know, he's been very supportive and very direct  
4 with Staff of how important is it for us to have  
5 standards that are enforceable, that are  
6 achievable in the field, and how important for us  
7 to have the ability for people to go out and  
8 build the projects and understand how they comply  
9 and how to make them comply with the standards.

10           So this workshop is very important, just  
11 to make sure everyone understands, you know, what  
12 the rules are and how to comply with them and how  
13 to, you know, model the buildings that are coming  
14 out. So thank you for your participation and  
15 thank you for helping us out today.

16           MR. FROESS: Thank you, Christopher.

17           So we'll start with a quick overview of  
18 the ACM. What it is, the residential ACM is a  
19 reference manual, is what describes the rules  
20 that are generated based on the proposed inputs.  
21 So it will create a standard design model based  
22 on prescriptive requirements. There's also a  
23 reference design model that Mazi will get into in  
24 his presentation that establishes a secondary  
25 baseline for the proposed model. And everything

1 will then get reported on the proposed design on  
2 their certificate of compliance.

3           The software that does it all is the  
4 California Building Energy Code Compliance, or  
5 CBECC, CBECC-Res. And today's version that we  
6 have releases is an alpha version for public  
7 review. And then we will have a prior version  
8 available before the business meeting where then  
9 it gets presented to be approved. And once  
10 approved, it will be allowed to be used to show  
11 compliance for buildings.

12           With that, here's Mazi Shirakh.

13           MR. SHIRAKH: So good morning. I'm Mazi  
14 Shirakh. I'm the Project Manager for zero-net  
15 energy, decarbonization, and anything that has to  
16 do with the PVs and battery storage.

17           The CBECC software underwent a major  
18 upgrade for the 2019 standards. We added a bunch  
19 of cool stuff, like PVs and battery storage and  
20 grid harmonization strategies. And we've also  
21 switched to an EDR, or an energy design rating,  
22 metric to demonstrate compliance, which is  
23 different than the past, so I'll be talking about  
24 this topic this morning.

25           I'm going to go through both my

1 presentations, EDR and the PDM battery storage  
2 first, and then we'll take questions. If you  
3 have a specific question on a topic that's on the  
4 slide, I'll be happy to take that. Otherwise,  
5 for general discussion, please wait until the  
6 public comment.

7           So we switched our energy design rating  
8 metric. And to do that, we aligned with RESNET.  
9 We use a 2006 IECC compliance building as the  
10 reference building and we compare our proposed  
11 building to that. The scores range from zero to  
12 100; 100 is a building that is good -- as bad as  
13 2006 IECC. And zero means full ZNE. We use TDV  
14 as the metric for this determination. For 2019  
15 standards the EDR score for buildings that  
16 include the PV system range from 15 to 27, to  
17 give you an idea.

18           And one of the advantages of EDR is that  
19 we worked with builders and other stakeholders  
20 and we came up EDR performance targets. And then  
21 the builders are free to basically get to that  
22 EDR target anyway they want. So this was an  
23 attractive feature for many of the stakeholders.

24           EDR has three components, an energy  
25 efficiency EDR, there is an EDR for PV and demand

1 flexibility, and a total EDR. For a building to  
2 comply the EDR score of the proposed efficiency  
3 must be equal to zero or less, that's the  
4 proposed EDR should be equal or less than the  
5 standard EDR for efficiency. And similarly, for  
6 a total EDR the proposed EDR must be equal or  
7 less than the standard.

8 I've included some screen shots here to  
9 illustrate that, first of all, on the right is a  
10 graphic depiction of how the EDR scale works. Up  
11 here is a square of 100, that's the 2006 IECC  
12 compliant, and down here is a full ZNE. For the  
13 2006 standards, for instance, the EDR score was  
14 about 65. For 2019, without the PV system,  
15 efficiency only, it was in the 41 to 48 range.  
16 And when we include the PV, we were in the 15 to  
17 27 range.

18 And the software will report these. This  
19 the standard efficiency EDR. And down here is  
20 the proposed. And the proposed must be equal or  
21 less, which is the case here in this example I  
22 have.

23 For the EDR of PV plus flexibility, which  
24 includes battery storage, the proposed EDR must  
25 be equal or greater than the standard EDR. So I

1 modeled this building, assuming the 14 kilowatt-  
2 hour battery storage. That's why you see this  
3 number to be larger than that. And finally, the  
4 total EDR of the proposed must be equal or less.

5           And down here you can see, this is the  
6 reference building and this is the proposed  
7 building, you can see how these numbers are so  
8 much lower for the 2019-compliant building  
9 because it's so much more efficient. For  
10 instance, the space cooling for the reference  
11 building, the kilowatt-hour consumption is 1,769,  
12 for the proposed building it's 422. This is in  
13 Climate Zone 12, Sacramento. And that's why  
14 these EDRs are so much lower.

15           The photovoltaic requirements, some  
16 changes there. First off, in the 2006, the  
17 current code, we have a compliance credit which  
18 is called a PV Compliance Credit. And this was a  
19 credit that allowed tradeoffs between PV system  
20 and building envelope features, such as high-  
21 performance attics and walls. For the 2019  
22 standards, that compliance is gone, it's been  
23 removed.

24           So there is, for the first time, a  
25 minimum PV requirement. And the size is

1 determined by the annual kilowatt-hour  
2 consumption of the house. The software will  
3 calculate the annual kilowatt-hour consumption of  
4 the house based on the efficiency features of  
5 that house, walls, doors, windows and equipment,  
6 calculates the annual kilowatt hours. And then  
7 it has the weather file, it knows, you know, how  
8 many cloudy days and all that, so it calculates  
9 based on the parameters or attributes of the PV  
10 system, what size PV you need to, basically,  
11 satisfy those annual kilowatt hours.

12           And by the way, that determination is set  
13 by the NEM 2 rules. Basically, the NEM 2, the  
14 Net Energy Meeting Rules, prohibit sizing the PV  
15 system that's greater than the consumption of the  
16 house. It doesn't really prohibit it, it just --  
17 you're not going to get compensated for it, so  
18 you're donating those electrons.

19           And the PV is sized to displace the  
20 entire annual kilowatt consumption of the house.  
21 This includes both regulated and unregulated  
22 loads. Space heating, cooling, IAQ, water  
23 heating, battery storage -- you know, battery  
24 storage has some draw because of the roundtrip  
25 efficiencies -- interior lighting, appliances,

1 cooking, plug loads and exterior lights, so it's  
2 anything that's attached to a house. And for the  
3 time being, this does not include electric  
4 vehicles, so that's outside of it.

5           And the users may use either a simplified  
6 approach. You know, if you have a clear roof  
7 that's facing south, there's no obstruction and  
8 all that, you can use a simplified and, you know,  
9 it's easy and it has a lot of preset defaults, or  
10 you may use a detailed approach where the user  
11 can define the attributes of the PV system,  
12 including the modular efficiencies, invertors,  
13 orientation, and shade.

14           We instituted a number of exceptions,  
15 prescriptive exceptions into the standards. This  
16 was kind of worked between staff and the builders  
17 and architects. And we also incorporated the  
18 same exceptions into the CBECC software, and  
19 there are five of them. And -- but before we  
20 understand the exceptions, there's some  
21 definitions we need to understand.

22           One is annual solar access which is  
23 the -- solar access is the ratio of solar  
24 insolation, including shading over -- solar  
25 insolation without shading. So you know, if you

1 a PV system that's sitting on the roof and it's  
2 unshaded, so that gets the maximum solar access.  
3 But if you have some shading, then you're  
4 proposed annual solar access is going to be lower  
5 than that. So the annual solar is the ratio of  
6 those two.

7           Effective annual solar access shall be  
8 greater than 70 percent or greater of the output  
9 of unshaded. So basically what that means is  
10 that as long as you've got areas on the roof that  
11 have -- their solar access is greater than 70  
12 percent of an unshaded system, then, you know, we  
13 think that's a good candidate where this --  
14 that's a good area where you can put your PV  
15 systems on.

16           Sir?

17           MR. SPLITT: Pat Splitt from App-Tech.

18           Has the shading been defined? Like  
19 shadows move throughout the day and throughout  
20 the seasons. Do you have some definitions of on  
21 what shade is?

22           MR. SHIRAKH: Yes. And those are all  
23 described in great detail in the Residential  
24 Compliance Manual, you know, how to determine  
25 shading and all that. But you know, in general,



1 you have to -- you know, if you inspect a roof  
2 and, you know, it's clear, there's no shading,  
3 there's no obstructions, then you can basically  
4 assume there's no shading. But if there are  
5 adjacent buildings, if there is chimneys, vents  
6 and all that nearby, then some documentation is  
7 required.

8           And there are several tools that are  
9 available to determine the annual solar access.  
10 One of them is like a semi-type of a device  
11 where, you know, the installers will go on the  
12 roof and they can take a visual of the trees and  
13 of buildings and it generates an annual report,  
14 and that is acceptable. And there's also other  
15 tools. And again, as Larry suggested, you read  
16 the Residential Compliance Manual.

17           MR. SPLITT: I usually wait until all the  
18 dust settles before I look at that stuff with --

19           MR. SHIRAKH: Yeah.

20           MR. SPLITT: -- directions. But the  
21 question is, I'm working on designing a building  
22 there isn't a roof to get up on yet. The roof  
23 doesn't exist, so you have to make a bunch of  
24 assumptions.

25           MR. SHIRAKH: So, I mean, is it a new

1 construction of is it a --

2 MR. SPLITT: New construction, yeah.

3 MR. SHIRAKH: Is it in a development of  
4 is it in a --

5 MR. SPLITT: I'm from Santa Cruz. We  
6 don't have developments.

7 MR. SHIRAKH: Santa Cruz. So you know,  
8 you'd kind of need to look at the neighborhood.  
9 You know, I actually have a friend who's doing  
10 this. In Downtown Sacramento there's big trees,  
11 so it's very obvious that he has shade on it. So  
12 you can proceed as if there's no shade. You can  
13 always amend that. You know, once there's a  
14 roof, you can amend the CF1R, once you have the  
15 actual roof and you know the exact shading and  
16 the place where the chimneys and all that, and  
17 adjacent buildings, you can always amend the CF1R  
18 at that time.

19 MR. SPLITT: Thanks.

20 MR. SHIRAKH: So the PV, there are five  
21 exceptions. The first one is kind of like the  
22 example I was just talking to Pat. You know,  
23 it's a building. It's in a neighborhood that's  
24 existing or, actually, it could be like in the  
25 redwoods. There's no -- not enough solar access.

1 So in that case, if the roof is completely  
2 shaded, there is no PV requirements.

3 But if there is some areas of the roof  
4 that's more than 80 contiguous square feet that  
5 has, you know, decent solar access, then the rule  
6 is that then you can put in as much PV system as  
7 possible to -- within that available roof area.

8 Otherwise, if there is no access, then  
9 nothing is required.

10 The next three exceptions, two, three and  
11 four, these are exceptions that modify the PV  
12 size requirement but don't exempt it. It's a  
13 recognition of situations where there may be --  
14 there may not be enough roof area to accommodate  
15 the prescriptive PV size. One of them is  
16 Exception Number 2 in Climate Zone 15, which is  
17 the most severe climate zone in the state. And  
18 in this climate zone, you end up with an  
19 unusually large PV system because of the heavy  
20 summer cooling requirements.

21 So then the requirement is that the PV  
22 system shall be the smaller size that can be  
23 accommodated by the effective annual access,  
24 what's practical is the smaller of what's  
25 practical or feasible, or the PV size required by

1 equation one, and equation one basically means  
2 the prescriptive requirement, but no less than  
3 one-and-a-half watt per square foot of the  
4 conditioned floor area.

5           And so we looked at several plans for  
6 this and, you know, we found that this one-and-a-  
7 half watt per square foot is feasible, even in  
8 Climate Zone 15. Essentially, what that does, if  
9 there is a restriction on the roof, it reduces  
10 the PV requirement in Climate Zone 15 and brings  
11 it in alignment with Climate Zone 13, which is  
12 the next most severe climate zone in the state.

13           Similarly, Exceptions 3 and 4 deal with  
14 the buildings that may be two or three stories  
15 high. And as you go up in the number of stories  
16 the roof area becomes smaller relative to the  
17 conditioned floor area. And you may have  
18 restrictions or limitations on how much PV you  
19 can put. And the approach is the same; you know,  
20 you either have to put the smaller of what's  
21 feasible or the prescriptive requirement but in  
22 no case, in the two habitable story case, you  
23 cannot put a PV system that's less than one watt  
24 per square foot. To give you an idea, a 2,700  
25 square foot home in Sacramento requires about 3.2

1 kilowatt system. With this exception, that  
2 requirement drops to a 2.7 kilowatt system, and  
3 it's about a half-a-kilowatt drop.

4 Same thing for three stories, except in  
5 this case the minimum requirement drops down to  
6 0.8 watt per square foot of conditioned floor  
7 area.

8 And the last one is an exception for  
9 dwelling units whose plans are approved prior to  
10 the effective date of the standards but they  
11 haven't really pulled the permit yet. And they  
12 may have pulled the permit even after the  
13 effective date. So this is like a one-time  
14 exception. And in those circumstances, what the  
15 exception is saying is that, you know, we give  
16 you a pass if, you know, you didn't think  
17 carefully enough about your roofline. And you  
18 know, you can get away by putting a much PV  
19 system as you can. And if there is -- there's no  
20 good roof area, you could be exempt. But again,  
21 this is a just a one-time pass for these  
22 buildings.

23 Other features of the software, one of  
24 them is an automated PV sizing for EDR targets.  
25 So this is a cool feature we added, mostly

1 because I was really frustrated because I was  
2 trying to find out what the PV size would be for  
3 various EDR targets for Reach Codes. And as you  
4 know, Reach Codes could specify lower EDR targets  
5 for both Tier 1 and Tier 2. And then, you know,  
6 you've got different climate zones and you've  
7 got -- you know, you keep changing this with  
8 that. And you know, without this feature, it  
9 became really frustrating, so, you know, we added  
10 this now. You can model your building with all  
11 the cool features that you want and you can  
12 specify, you know, your batteries if you have it  
13 and all of that. You put your target EDR and the  
14 software will calculate the amount of PV system  
15 that you need. It's convenient for Reach Codes  
16 when a lower EDR target is specified. And it's  
17 calculated based on the actual features of the  
18 house. And it's really good for if you're doing  
19 iteration in incremental runs.

20           So there's some situation when the PV  
21 size may be -- may have to be oversized. Per the  
22 -- you know, the NEM rules say, you know, this is  
23 the limit but, you know, you may want to go  
24 beyond that. There's several reason for going  
25 beyond.

1           One of them is that, you know, these are  
2 simulated results. These are not actual  
3 consumption of the house. I mean, the house  
4 that's occupied could behave differently, the  
5 occupants, and what we assume an average occupant  
6 is. And also, there could be additional loads in  
7 the house.

8           So for Title 24, Part 6, the software  
9 automatically calculates the PV size for the  
10 house that is compliance with the NEM rules. But  
11 for Reach Codes, as we mentioned, you know, you  
12 may have a jurisdiction that will go to a lower  
13 EDR, like ten, or even zero. And in those cases,  
14 to get to those scores, you may have to oversize  
15 the PV system. And the software will allow you  
16 to do that as long as you specify a battery  
17 storage system that's JA12 compliant and has a  
18 capacity, storage capacity of at least five  
19 kilowatt hours. And if you install this battery  
20 storage, five kilowatt hours, the software will  
21 allow you to oversize the PV system by a factor  
22 of 1.6.

23           In our simulation, we found, with the  
24 battery storage system, in most climate zones,  
25 even with an oversize factor of 1.3 or 1.4, you

1 can get very close to an EDR score of zero, so  
2 1.6 is actually very generous.

3           But there may be other situations where  
4 you have to even exceed the 1.6. For instance,  
5 if you're expected to have -- the occupants, you  
6 know, want to have the EVs in the premise, then  
7 the software will allow you to bypass the 1.6  
8 sizing by checking a checkbox. And at that  
9 point, you can put in any PV system. But the  
10 software will warn you that this may violate the  
11 NEM rules and you better consult with your local  
12 utility before you do that, otherwise, just  
13 because the software says you can oversize, it  
14 doesn't mean you can. You need to check with the  
15 local utility. And in most cases, you know, if  
16 you have a good justification, they'll probably  
17 let you.

18           So another concept that's new in 2019  
19 standards is community solar. You know,  
20 everybody talks about the PV system as an onsite  
21 requirement on their roof but the standards do  
22 provide an alternative to the onsite PV system,  
23 which is community solar. And once and if these  
24 community solar concepts become available and  
25 approved by the Commission, it can used in lieu



1 of onsite PV system.

2           They have to have certain features. They  
3 must be dedicated to the building, just like a PV  
4 system is. They must be durable. They must  
5 provide energy savings to the house for at least  
6 20 years. There must be an additional resource  
7 by the provider that is dedicated to the house  
8 and cannot be redirected or used for any other  
9 purpose, like RPS goals. There are  
10 accountability and recordkeeping requirements.  
11 The records must be maintained for 20 years and  
12 made available to relevant stakeholders. And  
13 finally, the Commission must approve these plans.

14           Currently, there are no approved  
15 community solar concepts. There's a lot of  
16 dialogue with both munis and IOUs. Time will  
17 tell. Even when these are approved, then we can  
18 approve them into the CBECC software as they  
19 become available. There's probably going to be a  
20 checkbox. You know, one strategy would be like  
21 there would be a checkbox for SMUD, one for PG&E.  
22 If there is, you know, other utilities or, you  
23 know, other entities that are providing, you  
24 know, we can incorporate all of those concepts  
25 into the CBECC. And for the eligible buildings,

1 they'll take that option instead of the onsite PV  
2 system.

3           And all the exceptions that I mentioned  
4 for the onsite PV system, by the way, also  
5 applies to community solar. For instance, if you  
6 house is a shaded pad and so you don't have to  
7 put a PV system onsite, you don't have to  
8 subscribe to community solar either. So the same  
9 exceptions apply to both concepts.

10           So this is the PV input screen which is  
11 this tab. Up here is where you can specify a  
12 target EDR. Let's say, you know, you want to go  
13 to a target EDR, you check this and the box pops  
14 up here and you put your target EDR, like ten,  
15 and the software will back calculate. I've got  
16 to warn you that when you did this the simulation  
17 time increases dramatically because the software  
18 has to go through a couple more iterations, so  
19 don't leave that checked all the time. You know,  
20 you'll be wasting time. Just do it only when you  
21 want it, then uncheck it. So that's that.

22           This is the reduced PV requirement  
23 checkbox. These are the exceptions that I just  
24 mentioned. You can check that and then you go to  
25 this drop box and you select the exception that

1 you think you qualify for. In this case, this is  
2 the exception for two habitable zones. And by  
3 doing that the software knows that you can change  
4 this minimum PV size requirement from 3.2, you  
5 can go maybe down to 2.7 or 2.8. If you go any  
6 lower than what this exception allows the  
7 software would not allow it. So then that's how  
8 the exceptions are handled.

9           Now down here is where you describe the  
10 attributes of your PV system. Under this tab,  
11 you have two choices, a simplified or detailed,  
12 so I chose the detailed for this, for  
13 demonstration. And down here you put in your PV  
14 size, which is about 3.2. Here the -- under the  
15 modules, you have several choices, standard and  
16 premium. Premium panels have more efficiency.

17           The CFI, this is orientation, the CFI  
18 orientation is anything between 150 to, I  
19 believe, 270 degrees from true north. So if your  
20 PV system is within that range, you can check the  
21 CFI box. If it's outside of that, then you've  
22 got to go into this tab and actually put in your  
23 actual orientation. You may actually have more  
24 than one string facing different orientation and  
25 that's what the second box is. You know, you can

1 model one string here, another string here. You  
2 can go down to run five strings.

3           And over here, that's the inverter  
4 efficiency. So if you're using a different  
5 inverter that's more efficient, or less, you can  
6 put it here.

7           There are several demand response  
8 measures, including battery storage and self-  
9 utilization credit. The software allows coupling  
10 Joint Appendix 12 -- or JA12 compliant battery  
11 storage system with the PV system and you'll get  
12 a credit for that.

13           For Part 6 compliance, coupling the  
14 battery with a PV system will allow you to  
15 downsize the PV system modestly, you know, by  
16 some amount.

17           But more importantly, for Part 11, the  
18 Reach Codes, coupling a battery storage system  
19 will allow you to reach the target EDR with a  
20 smaller, much smaller PV system. And we think  
21 that's desirable because when you couple a right-  
22 sized PV system with a battery storage system,  
23 then this becomes a great harmonized system that  
24 works to the benefit of the grid, the homeowner  
25 and the environment. So you know, we think this

1 is a good strategy to go and that's why we put it  
2 in there.

3           Again, the minimum battery storage  
4 capacity must be five kilowatt hours and has to  
5 be JA12 compliant. And just a note, the JA12 is  
6 a new appendix that we installed, we developed  
7 this time around. And it's a document that  
8 basically specifies how the battery must operate  
9 in a dynamic fashion to bring the maximum benefit  
10 to the homeowner and the grid. It has to have  
11 certain communication capabilities and controls  
12 strategies.

13           The battery credit is the result of the  
14 TDV cost differentials because, you know, when  
15 you have a battery storage, you can save the  
16 electricity in the middle of the day when the  
17 electricity is cheap and then discharge it when  
18 the electricity is much more expensive during the  
19 evening ramp. And in the TDV universe, you can  
20 translate that into a credit that can be used  
21 against other features.

22           We also work with the stakeholders and we  
23 allow a portion of the battery storage credit,  
24 that's coupled with the PV system, to be used  
25 against -- for tradeoffs against the energy

1 efficiency features of the house. It's a limited  
2 credit and it's called self-utilization credit.  
3 And these are -- this is a strategy that, you  
4 know, we're trying to promote because, both, it  
5 gives builders a little bit more flexibility on  
6 how to get to those EDR targets. It also grid  
7 harmonizes the PV system which minimizes the  
8 exports to the grid and maximizes the self-  
9 utilization of the PV array at the site.

10           So the magnitude of this credit is equal  
11 to 90 percent of the difference between the 2016  
12 and 2019 standards envelope improvement, so this  
13 is key. This doesn't allow you to trade away all  
14 of high-performance attics and walls, only the  
15 difference between 2016 and 2019, and only 90  
16 percent. So the features that are included for  
17 this calculation are below-deck batt insulation,  
18 the difference between R-19 for 2016 and R-13 for  
19 2006. The wall U-factor, a difference between  
20 0.048 for 2019 and 0.051 for 2016. U-factor,  
21 modest improvement of 0.30 versus 0.32. And  
22 modest improvement for SHGC, 0.23 and 0.25.  
23 Probably the biggest component is the  
24 incorporation of QII. So those -- when you add  
25 one through five and take 90 percent of it, it

1 determines the amount of that credit.

2           So this is the battery storage input  
3 screen which is this tab here. Up here you  
4 include your total rated battery capacity. You  
5 know, I used 14 kilowatt hours for this  
6 simulation. This is the checkbox for bypassing  
7 the PV size limit. And since I've checked this,  
8 there's this warning here that this PV size limit  
9 may violate the NEM rules and go talk to the  
10 utility.

11           Down here there's this checkbox. This is  
12 the one that allow you to take that self-  
13 utilization credit at I just mentioned which  
14 allows you to trade a portion of the battery  
15 credit against envelope efficiency features.

16           Down here are the control strategies for  
17 the battery. There's, I think, there of them  
18 here. There's a basic time of use, advanced DR.  
19 For this demonstration, I used time of use. And  
20 here you can specify the first hour of summer  
21 peak, which depends on what utility is serving  
22 you. And down here, you know, you put in the  
23 roundtrip efficiency of the batteries. And you  
24 know, if yours is lower or higher, then you can  
25 change it.

1           So there are other demand responsive  
2 measures. One is called precooling credit. This  
3 is a very modest credit. This is nowhere near  
4 battery storage. And the thinking is that, you  
5 know, with a 2019 standards, you have a really  
6 nice building shell. You have high-performance  
7 attic with R-19. You've got high-performance  
8 walls. You've got good windows, that it's tight.  
9 We're almost at passive house performance, you  
10 know, with these requirements. Not quite. I  
11 don't want to imply that this is a passive house  
12 but we're getting close to it.

13           So in most days, if you pre-cool this  
14 house when the electricity is cheap in the middle  
15 of the day or there's PVs generating, you can  
16 shut off that air conditioning at the onset of  
17 the highest peak and coast through those three or  
18 four hours, so that's a benefit of this credit,  
19 that it cools the house when the electricity is  
20 much cheaper.

21           So this credit only impacts the PV-plus-  
22 flexibility EDR. In other words, you cannot use  
23 this credit to trade away building efficiency  
24 features.

25           I should add that, you know, in general



1 the standards allow more efficiency and less PV  
2 but it doesn't allow -- they don't allow more PV  
3 and less efficiency, with -- the only exception  
4 was the self-utilization credit. So typically,  
5 tradeoffs go against the PV system for more  
6 efficiency, except for the self-utilization  
7 credit. And this credit is the same. It can  
8 only be used to lower the EDR on the PV and  
9 flexibility side. You cannot use it to trade  
10 away walls and attics. And it's not even big  
11 enough to actually allow you to do that.

12           A checkbox is provided under the Building  
13 Input tab to enable this option. When you select  
14 this option the software assumes the house is  
15 pre-cooled in the hours preceding the onset of  
16 the highest peak, and then the house will coast  
17 through the highest peak hours. It requires the  
18 installation of a communicating thermostat. And  
19 the homeowner will have to enroll in a program  
20 with the utility, which is one of the downfalls  
21 of this, the system, is because at the time of  
22 inspection, we don't know who's actually going to  
23 enroll into a program or not. So this is very  
24 occupant dependent.

25           Similar to battery storage, it takes

1 advantage of the TVD cross differentials. And if  
2 you are already taking credit for battery  
3 storage, this pre-cooling is not going to help  
4 you very much because battery storage will  
5 basically overrun and swamp this credit. And the  
6 credit is discounted by 70 percent, again,  
7 because it's a very occupant-dependent strategy.  
8 As I mentioned, the homeowner would actually have  
9 to enroll into a program and operate the  
10 thermostat to take advantage of this credit.

11           Now the setpoints are -- the pre-cooling  
12 setpoints are determined by the forecasted  
13 average outdoor temperatures. And this is a  
14 graph that Bruce Wilcox sent to me. And you  
15 know, if there's a forecast, like the next day  
16 the temperatures are going to be 101 degrees,  
17 then their setpoint is going to be about 73-and-  
18 a-half, or about 73 degrees. And if the forecast  
19 is it's going to be 91, then the setpoint will be  
20 about 75-and-a-half. So it depends. Depending  
21 on the forecast the utility will send a signal  
22 and it will set the setpoint down to make sure  
23 that the house is actually pre-cooled down to  
24 that level before the onset of the highest peak  
25 where the air conditioning will shut off.

1           The Pre-Cooling Credit is provided under  
2 the Building Input tab. This is the same area  
3 where you specify the air leakage of the house, 5  
4 ACH at 50 pascals. And this is where you specify  
5 QII requirements, the orientation, single-family,  
6 number of bedrooms, and so forth. And here is  
7 the checkbox for the pre-cooling.

8           So getting closer to the end, there are  
9 several slides on the CBECC onscreen reports.  
10 Because we changed the requirements in the  
11 standards, the reports have also changed  
12 accordingly.

13           So this one is the compliance summary.  
14 In the past, we only had one criteria for  
15 pass/fail, which was basically the energy  
16 efficiency. Now, because we've added, you know,  
17 a second metric for PV, then we have a couple  
18 metric. And your proposed design must be greater  
19 than both EDR scores. Actually, sorry, for  
20 the -- the amount must be less -- the proposed  
21 design must be less or equal. And here, you see  
22 the margins, basically. And because these have  
23 positive margins here, then this building  
24 complies. So the key difference is that in the  
25 past there was only one criteria. Now we have a

1 two-criteria system.

2           We also are very interested in reducing  
3 carbon emissions from the buildings, so we've  
4 included a CO2 Emissions tab. And what this tab  
5 does, it reports the emissions, CO2 emissions of  
6 the house, in metric tons per year. And it --  
7 basically, that calculation is done the same way  
8 as the efficiency calculation. It looks at the  
9 efficiencies of the house, envelope, the more  
10 efficient it is, you know, you use less energy  
11 and, also, you emit less CO2. So it's an hourly  
12 calculation, very similar to the energy  
13 efficiency features. But it also reports the  
14 benefits of CO2 reduction from the PV system and  
15 battery storage system.

16           So this 3.2 is the total potential CO2  
17 emissions, excluding solar and demand  
18 flexibility, is about 3.2 metric tons per year.  
19 In this tab, it reports the CO2 savings for solar  
20 electricity, you know, for the amount -- the PV  
21 system that you put up there, about 3.2. For the  
22 proposed design, it says you reduce the carbon  
23 emission by 0.29 tons per year for self-  
24 utilization. It means, you know, your PV's up  
25 there; right? You know, now we're not home, so

1 it's sending -- most of the electrons goes to the  
2 grid. But some if it is used, you know, to run  
3 your refrigerator and all that. Then when you go  
4 home, you turn on TV. So from the self-  
5 utilization the PV reduces the carbon by about  
6 0.29 metric tons but most of that actual goes  
7 back to the grid.

8           Other -- if you add battery storage,  
9 you'll see these numbers actually change quite a  
10 bit. Your CO2 savings from self-utilization  
11 shoots up to 0.83 from 0.29 and the exports that  
12 go back to the grid reduces from 0.3 to 0.14. So  
13 that's the benefit of battery storage. When you  
14 grid harmonize, you don't have to send electrons  
15 back to the grid and most of the benefit stays  
16 back in the house, including CO2 emissions. And  
17 these last two tabs, basically, it's about the  
18 same thing, it captures the impact of CO2  
19 emissions. This includes exports to the grid --  
20 the excludes exports to the grid. And basically,  
21 these are benefits from self-utilization only.

22           Energy Design Rating, this is very  
23 similar to the tab I previously showed you, so I  
24 won't go over it.

25           The good news is I think this is my last

1 slide. Yeah.

2 So this is the Energy Used Detail tab.

3 This should be very familiar to you. It's very

4 similar to the 2016 tab. You know, you've got

5 your standard design building here and you've got

6 your proposed design. You've got all the

7 kilowatt hours terms, TDV metrics all align here.

8 This shows the margins for this building. I

9 think what I did was, for this building, I

10 improved the window SHGC somewhat. So you know,

11 you get some benefit in the summer but you take a

12 small penalty in the winter for having a higher

13 SHGC.

14 But the only difference between this tab

15 and the previous tab is now we've got the

16 photovoltaic and battery storage information

17 included here. So in this building the PV system

18 in Climate Zone 12 generates -- this is about, I

19 think, a 3.2 kilowatt PV system -- generates

20 about 5,200 kilowatt hours. So when you look at

21 down here, on the annual basis this house gets

22 about 150 kilowatt hours net from the grid. The

23 rest of it is coming from the PV system. The

24 battery storage is using about 250 kilowatt hours

25 and that's because of the roundtrip efficiencies.

1           So I'd be happy to answer any questions.

2           MR. FROESS: Yeah. Thank you very much,  
3 Mazi. That was a great presentation.

4           We'll take in-person questions and  
5 comments first. And again, please present a  
6 business card or -- and state your name and  
7 affiliation.

8           MS. CORDES: Hi. Can you hear me? Megan  
9 Cordes with ConSol, representing CBIA. Just have  
10 a comment and one easy question.

11          MR. SHIRAKH: Um-hmm.

12          MS. CORDES: My comment is I think  
13 community solar, a viable community solar option  
14 is going to be an important aspect when we look  
15 at builders complying with the 2019 standards.  
16 And as you mentioned, there's no viable option  
17 yet, nothing is approved, so we've been working  
18 with you guys and we look forward to continuing  
19 to work with you and the CPUC, the IOUs and the  
20 munis to make sure there's something that's in  
21 place as we go into implementation, and then how  
22 that will play out in the software and how  
23 builders are going to show compliance with that.

24          My question is a small one. You  
25 mentioned, and I didn't know this before, that

1 when you're using the community solar option, you  
2 are still working with the exceptions. So I see  
3 how that works on like for the options where you  
4 just avoid solar altogether. But for the options  
5 where you're reducing the solar requirements, so  
6 say you have a three-story house and you can only  
7 put 0.8 watts per square foot on that house, you  
8 would only have to provide that much output from  
9 the community solar as a 0.8 watt per square  
10 foot --

11 MR. SHIRAKH: Yes.

12 MS. CORDES: -- you would have to do?

13 MR. SHIRAKH: The PV size is determined  
14 by the software. And the software include all  
15 the exceptions.

16 MS. CORDES: Okay.

17 MR. SHIRAKH: So you assume that you have  
18 an onsite PV system and you run it with all the  
19 exceptions, including for the two and three,  
20 whatever number comes out of that, that's the PV  
21 size. So when, you know, SMUD for instance, I  
22 don't want to pick on them but just as an  
23 example, if you want to enter into their  
24 Community Solar Program, they have to dedicate a  
25 portion of their resource that's equal to the



1 number that comes out of CBECC. There's some  
2 exceptions, even for that, because, you know,  
3 typically rooftop PV systems are on a fixed  
4 orientation, whereas a solar -- a community solar  
5 may be on tracking, so they can actually adjust  
6 for tracking. Or if they have like bifacial  
7 where you have higher efficiency, they can  
8 actually further adjust it for that.

9 MS. CORDES: Okay. Thank you.

10 MR. SHIRAKH: That was easy. Thank you.

11 MS. CORDES: And what's your favorite  
12 color?

13 MR. SHIRAKH: Blue.

14 MR. SEVERANCE: Bruce Severance,  
15 Mitsubishi Electric.

16 I had a question about the -- if you  
17 could just go over or repeat for me the tradeoffs  
18 between the Petty Officer Bowler system and the  
19 batteries and if you're allowed to reduce wall  
20 assembly efficiencies if you add batteries and  
21 more PV; is that what you were saying, that  
22 there's a list of five tradeoffs there and you're  
23 allowed to --

24 MR. SHIRAKH: So --

25 MR. SEVERANCE: -- shell efficiencies if

1 you add batteries?

2 MR. SHIRAKH: So if you add batteries to  
3 the PV system, you get a very large credit, about  
4 ten EDR points. So this credit allows a portion  
5 of that, about three EDR points, to be used  
6 against efficiencies. Let me go to this to kind  
7 of give you an idea of what the magnitude is.  
8 There. So like in this case the EDR score for  
9 energy efficiency is 44, that's EDR points. And  
10 this house, this has battery storage, so you can  
11 see the EDR score of the proposed PV is about ten  
12 EDR points higher than standard design, so that's  
13 how much credit you're getting from the battery.

14 MR. SEVERANCE: So you can trade that off  
15 on --

16 MR. SHIRAKH: Not all of it. You know,  
17 what we're saying, if you check that box, the  
18 self-utilization credit --

19 MR. SEVERANCE: Yeah.

20 MR. SHIRAKH: -- it allows you to  
21 transfer a portion of this credit from this  
22 column to this column. It's roughly about three  
23 EDR points.

24 MR. SEVERANCE: Okay.

25 MR. SHIRAKH: So it will lower this EDR

1 score from say 44 down to 41. And then you have  
2 that much room with three EDR points. You can  
3 use it for any feature that you want, actually.  
4 It was calculated. The calculation is based on  
5 the improvements within 2016 and 2019, but it's  
6 not restricted to those figures. That's just the  
7 magnitude of the credit. The actual credit can  
8 be used to increase more window areas.

9 MR. SEVERANCE: Right.

10 MR. SHIRAKH: It can be used --

11 MR. SEVERANCE: It can be traded in  
12 other --

13 MR. SHIRAKH: Yeah, you can.

14 MR. SEVERANCE: -- in other ways?

15 MR. SHIRAKH: You can use it for  
16 anything.

17 MR. SEVERANCE: Well, I guess the one  
18 question I have is that are you assuming that  
19 when these batteries, batteries always have a  
20 life, so lithium is anticipated to last, what, 10  
21 or 15 years? Is the assumption that when the  
22 battery pack dies, that somebody's going to  
23 replace that or that the system is going to be  
24 designed so that it won't work unless somebody  
25 replaces that battery pack?

1           MR. SHIRAKH:  Actually, that's a really  
2 good question.  The batteries are not required.  
3 We're not requiring batteries, we're just  
4 providing incentives, compliance incentives, so  
5 we don't require it.  So this is going to go in,  
6 if the builder decides they want to install it  
7 for some reason, you know?

8           MR. SEVERANCE:  Right.  But I guess what  
9 I'm saying is if somebody's trading off those,  
10 you know, three EDR points --

11          MR. SHIRAKH:  Right.

12          MR. SEVERANCE:  -- there's nothing that  
13 would prevent the homeowner from just failing to  
14 replace the battery pack.

15          MR. SHIRAKH:  After 10 or 15 years --

16          MR. SEVERANCE:  After 10 or 15 years.

17          MR. SHIRAKH:  -- it's possible.  But  
18 we're also hopeful that in 10 or 15 years the  
19 cost of the batteries will come down so much that  
20 it will be an easy choice for the homeowner at  
21 that time to replace that battery.  And what  
22 we're hearing, the forecast from the  
23 manufacturers, that over the past five years the  
24 cost of the batteries has gone down by about 70  
25 percent.  And if that trend continues, then it

1 becomes an easier choice --

2 MR. SEVERANCE: Right.

3 MR. SHIRAKH: -- for the homeowners to  
4 replace.

5 MR. SEVERANCE: Yeah. I --

6 MR. SHIRAKH: But, yeah, there's no  
7 guarantee.

8 MR. SEVERANCE: So if I can move on to my  
9 comment is that, you know, similarly, I  
10 appreciate in the past the CEC has taken a pretty  
11 strong position on having high standards for  
12 building shells because it's considered an  
13 infrastructure issue. And you know, I'm  
14 probably, you know, one of the few people in the  
15 HVAC advocacy arena that really believes that we  
16 should be doing the most cost-effective shell  
17 improvements as a mandatory requirement. And  
18 currently, there's no standard for building  
19 leakage where it's really required. You know, we  
20 should be shooting for 3 ACH 50, you know that's  
21 easy to do, and there's no standard right now.

22 And very clearly from, you know, the data  
23 from Energy Upgrade California and other places,  
24 that building leakage is the biggest bang for  
25 your buck in terms of what we can do.

1           So just reminding us all that, you know,  
2 the Commission's, I think, mission statement is  
3 to look at cost tradeoff analysis and figure out  
4 where we're really getting the most bang for our  
5 buck for the consumer. I don't believe the  
6 consumer really benefits from having big  
7 batteries in their house. I mean, that's really  
8 something that it's serving a grid harmonization  
9 function and I do believe grid harmonization is  
10 the elephant in the room that we need to address.

11           But batteries as a solution is more  
12 beneficial to utility managers, grid managers,  
13 than it is to the home, except for those cases  
14 where people want to be able to island and  
15 operate when there's a blackout. But most of  
16 these systems have anti-islanding devices that  
17 don't prevent -- you know, prevent them from  
18 operating as a standalone powered house when  
19 there's a blackout.

20           So you know, my concern is, just in terms  
21 of value for the customer, I would encourage the  
22 CEC to really look at higher standards for  
23 building leakage and looking at cost tradeoff  
24 analysis on different type of wall assemblies, I  
25 don't believe exterior foam is the best way to do

1 a continuous break on the outside, really  
2 evaluating vapor drive issues, et cetera. At the  
3 same time, there's a lot of data on failure modes  
4 with buildings that don't breathe properly. I  
5 have a feeling we're painting consumers and  
6 builders into corners where there are going to be  
7 engineering failure modes down the road. And the  
8 reason that this is relevant to HVAC is, you  
9 know, generally, heating and cooling loads are  
10 probably the most difficult to manage relative to  
11 grid harmonization. That's kind of the key. You  
12 know, if we can lower the demand side of that  
13 equation, we're going to be able to harmonize  
14 more solar on the grid; right?

15           So to me, those are things that shouldn't  
16 be compromised. If we're going to create  
17 incentives for adding batteries, it shouldn't be  
18 to the detriment of the building shell at the  
19 same time. I think that's -- we need more long-  
20 range thinking than that.

21           MR. SHIRAKH: Yeah.

22           MR. SEVERANCE: And that's just my  
23 comment.

24           MR. SHIRAKH: I agree with your comments  
25 that --

1 MR. SEVERANCE: Yeah.

2 MR. SHIRAKH: -- you know, we did find  
3 the building envelope efficiencies were more cost  
4 effective than batteries. We did look at the  
5 cost effectiveness of batteries and it turned out  
6 that they're not cost effective but they're not  
7 that far off, but they're certainly not as  
8 efficient as envelope measures. And again,  
9 that's -- we do not require batteries.

10 MR. SEVERANCE: Yeah. And these are --

11 MR. SHIRAKH: It's an option.

12 MR. SEVERANCE: -- these are numbers I've  
13 studied, and so forgive me. I don't mean to  
14 proselytize. Forgive me --

15 MR. SHIRAKH: Yeah.

16 MR. SEVERANCE: -- for doing that. But I  
17 just, I do think that it's a function that the  
18 CEC should fulfill, is looking at the cost  
19 tradeoffs and really trying to make clear  
20 recommendations about alternatives that are going  
21 to be the most cost effective to the consumer and  
22 actually lower the cost of ZNE homes and make  
23 them more affordable for the public. So --

24 MR. SHIRAKH: Yeah.

25 MR. SEVERANCE: -- I just ask you guys to



1 have some checks and balances and maybe some  
2 number crunchers in the background that are --

3 MR. SHIRAKH: So we agree with you.  
4 That's --

5 MR. SEVERANCE: -- you know, tapping on  
6 your shoulder once in a while.

7 MR. SHIRAKH: We do that every cycle.

8 MR. SEVERANCE: Yeah.

9 MR. SHIRAKH: And so, you know, we're not  
10 done.

11 MR. SEVERANCE: Okay.

12 MR. SHIRAKH: You know, we're still --

13 MR. SEVERANCE: That's my comment. Thank  
14 you.

15 MR. SHIRAKH: Thank you so much.

16 MR. SEVERANCE: Yeah.

17 MR. SHIRAKH: Appreciate it. Any other  
18 comments in the room?

19 Good morning, Pierre.

20 MR. DELFORGE: Good morning, Mazi. Good  
21 morning everyone. Thank you for -- Pierre  
22 DelForge with NRDC. Thank you for the  
23 opportunity to comment. I want to start by  
24 saying we appreciate all the hard work that's  
25 gone into the software. We understand how much

1 work it is and it's really important to implement  
2 the new 2019 code on a timely -- in a timely  
3 manner.

4 I have three comments. The first one,  
5 just to build off Bruce's comment on the self-  
6 utilization credit, as you know, NRDC has always  
7 supported energy efficiency as the first measure,  
8 the first priority measure in terms of reducing  
9 energy and emissions, and we continue to do that.  
10 We also, however, realize that, you know, there's  
11 a need for flexibility for industry in terms of  
12 getting to, you know, high-performance envelopes.  
13 And we -- and also that batteries are an emerging  
14 energy technology that, you know, as an emerging  
15 technology, can be supported.

16 So, too, because of that, we support a  
17 temporary measure that, you know, (indiscernible)  
18 as a temporary measure. But we're also very  
19 concerned that this is temporary so that we don't  
20 permanently trade off energy efficiency that is  
21 cost effective and that, we believe, provides  
22 higher value to the consumer over the life of the  
23 building because it's more dependable, it's more  
24 persistent. So we support this as a temporary  
25 measure and we would encourage the Commission to

1 revisit that in the next code cycle.

2 MR. SHIRAKH: Can I respond? Yes, I  
3 mean, you know, we had the PV, tried it out for  
4 one cycle. And you know, this will probably  
5 going to be in there for this cycle. You know,  
6 we can revisit it for the next one. But again,  
7 the amount of credit that you get by installing  
8 batteries is very limited. In a sense, what you  
9 end up with us a 2016 compliant building with  
10 high-performance attics and high-performance  
11 walls, a PV system that's grid harmonized because  
12 you have a battery storage system. I mean,  
13 that's not a bad scenario, actually.

14 But, I mean, we always revisit this every  
15 code cycle so, you know, things change in the  
16 future.

17 MR. DELFORGE: Thank you. My second  
18 point is around demand management or demand  
19 response credit for electric water heating. So  
20 staff has indicated, so -- and I know we have  
21 water heating later on the agenda, so I can hold  
22 my comment until then. But I know we also  
23 covered the DR credit for battery and for pre-  
24 cooling, so is it all right to comment now?

25 MR. SHIRAKH: So Larry is going to talk

1 about that, right.

2 MR. DELFORGE: Okay. So I'll hold my  
3 comment until later then.

4 MR. SHIRAKH: I'm the PV guy, not the  
5 water heating guy.

6 MR. DELFORGE: Okay. That's great.

7 MR. SHIRAKH: I have my own bucket here.

8 MR. DELFORGE: All right, so I'll move  
9 to -- my last comment then is on CO2 emissions.  
10 So you know, we strongly support the inclusions  
11 of CO2 emissions. It's obviously key to support  
12 California's climate goals. So again, fully  
13 support it.

14 My question is around the source of data  
15 that is -- you know, what's behind that number  
16 that is calculated? I assume you have an hourly  
17 schedule. And it's, you know, determining what's  
18 the methodology for determining this hourly  
19 schedule for hourly emissions factors for  
20 emissions? Can it be shared with stakeholders?  
21 Because the devil's in the detail and we want to  
22 make sure that the methodology for determining  
23 these emission factors are -- you know, that we  
24 agree with it and that it reflects the state's  
25 energy policies and goals.

1           And it's important because we anticipate  
2 a lot of cities are going to, especially in terms  
3 of Reach Codes, are going to be looking at the  
4 emissions as one of the measures for how to  
5 justify Reach Codes and, you know, looking at  
6 what are the climate benefits that do that as  
7 part of climate reduction plans and that it can  
8 quantify the upper (indiscernible) benefits of  
9 the actions.

10           MR. SHIRAKH: So for CO2 report, this is  
11 a very complicated topic, the metrics and how  
12 they -- but for this purpose, what we're using is  
13 long-term marginal emission rates assuming, I  
14 think, a 50 or 60 percent RPS by 2030. And it's  
15 a marginal rate so it -- I mean, you've been in  
16 those discussions with E3. It's the one, the  
17 metric five, or some people call it the hour  
18 resource energy, it's that metric where, you  
19 know, it changes by the hour of the day and the  
20 year, depending on what resources are on the  
21 margin.

22           In my opinion, that represents the -- and  
23 it's just my opinion -- the emissions from the  
24 house today better than the other metrics. But  
25 you know, the future, as the grid becomes

1 greener, you know, there's that AB -- or SB 100  
2 where, you know, we're requiring 100 percent, so  
3 these things will change in the future.

4 But for today's buildings and the grid, I  
5 think that's the best metric to report this year  
6 to emissions.

7 MR. DELFORGE: I think I agree but is it  
8 possible to -- you know, for this metric to be  
9 available so that we can --

10 MR. SHIRAKH: Yeah.

11 MR. DELFORGE: -- you know, analyze it.

12 MR. SHIRAKH: So you know, this metric  
13 here is not used for any kind of compliance, it's  
14 just informational so people get an idea. You  
15 know, if you're a community, you're trying to  
16 limit CO2, in addition to energy efficiency, they  
17 can use. But in the future, you know, this  
18 doesn't mean, by any means, that this is a metric  
19 we're going to use for tradeoffs in the future.  
20 That's an entirely separate topic.

21 MR. DELFORGE: Thank you.

22 MR. SHIRAKH: Sure. Any other questions  
23 in the room?

24 Morning, Joe.

25 MR. CAIN: Joe Cain with the Solar Energy

1 Industries Association, also called SEIA. I have  
2 some comments and I have some questions, so I  
3 think what I'll do is pause each time I get to a  
4 question.

5 First of all, I want to say, you know,  
6 express again, as we have in earlier parts of  
7 this process, our support for the Commission's  
8 staff and how these standards came together. I  
9 think it's been a really fruitful development  
10 cycle.

11 Speaking to some of the questions about  
12 PV sizing and shading, and as Pat Splitt from  
13 App-Tech asked the question, how to determine the  
14 shade, and I have a couple things about that.  
15 But one is that the, of course, the software, as  
16 mentioned, Mazi, has some particular features in  
17 it as far as how to implement these exceptions.  
18 The question came up about what do you do if  
19 there's not even a house and you cannot go on the  
20 roof to do an actual measurement of shade?

21 So one thing to point out is there are  
22 some commercially available software packages for  
23 PV system design. And without mentioning names,  
24 one of -- there's a demo I saw of one where you  
25 can take the actual house plans and transpose

1 those over an aerial image of a bare site that  
2 has trees on it, for instance, project the trees  
3 up into some idealized shapes, and then actually  
4 calculate shading and PV system size and complete  
5 design based on that.

6           That particular package, I communicated  
7 with the owners, and they said that they, for  
8 institutional use, they can share copies of that  
9 for a nominal fee. But anyway, it's available.

10           And so you can do this 3D automation, I  
11 mean, take the house plans and actually project  
12 them up in 3D and particular shading and project  
13 it up in 3D and then do an actual calculation on  
14 that.

15           So I think my point there is that if you  
16 are using the CBECC-Res software, I think it  
17 would behoove you to use some method of PV system  
18 design concurrent with the inputs into the  
19 software to avoid finding out that you have to do  
20 some iterations and come back and correct your  
21 compliance package.

22           And along with that the -- again, with  
23 the exceptions based on limited roof space, the  
24 rules for rooftop fire setbacks and access  
25 pathways, I've been involved in developing those



1 and improving those in the International Fire  
2 Code and the International Residential Code. And  
3 those did change in California during the  
4 intervening code cycle with a number of  
5 improvements that we've put in there that, you  
6 know, gain more flexibility and regain some roof  
7 space, to regain some real estate that.

8           So the question I'm going to ask is in  
9 terms of using the exception in the software, are  
10 those new setback rules and the flexibility of  
11 those incorporated into the software or how does  
12 -- how do you determine available roof space  
13 based on even some more flexibility and if-then  
14 statement-type rules? Is that built in or is it  
15 not built in?

16           MR. SHIRAKH: Bruce is going to explain.

17           MR. WILCOX: (Off mike.) This is Bruce  
18 Wilcox. It's not currently built in -- the  
19 current -- in the current software, which of  
20 course is not the final version, there are  
21 changes to be made, but currently the user  
22 determines the areas and so forth and inputs  
23 those. And this is the way of providing them the  
24 best flexibility, use any of the tools that  
25 you've mentioned or --

1 MR. CAIN: Okay.

2 MR. WILCOX: -- whatever.

3 MR. CAIN: Okay. Great. Thank you.

4 Okay.

5 Next topic --

6 MR. SHIRAKH: Let me ask --

7 MR. CAIN: Please.

8 MR. SHIRAKH: -- the first topic, you  
9 know, if you don't know what your roof looks like  
10 and all that, again, it's possible to assume that  
11 the house complies with the prescriptive PV  
12 credit and proceed like that. It's not uncommon  
13 to revise CF1Rs. I mean, people do that all the  
14 time. You have more windows, you want a  
15 skylight, you know, you have to resubmit your  
16 CF1R.

17 So you can, you know, start your  
18 construction and compliance work and then always  
19 revise it in the future when you know the actual  
20 because there's several ways of approaching it.  
21 And what you suggested is obviously another one,  
22 using the software that's approved by the  
23 Commission. You know, that could be acceptable  
24 too.

25 MR. CAIN: Sure. Thank you. And I think

1 there's going to be some decision points, I mean,  
2 other than the ACM Reference Manual, but in  
3 practice on some decision points about whether  
4 the energy consultant that has been doing  
5 building modeling for all these years wants to  
6 also design PV systems or design layout and  
7 sizing of PV systems, or whether that is done in  
8 partnership with, you know, a solar installer  
9 that would tend to want to do their own designs.  
10 I mean, there's going to be some iterations there  
11 but, like I say, I mean to distribute -- to  
12 reduce iterations.

13 MR. SHIRAKH: Okay.

14 MR. CAIN: Next question. In the  
15 efficiency of the PV modules themselves there's  
16 three buckets, there's standard, there's premium,  
17 there's something else. And I think that the  
18 user the is forced to, you know, take whatever  
19 modules they plan to install and put them into  
20 one of three buckets.

21 So kind of a two-part question here is:  
22 How impactful is that in the overall energy  
23 modeling, and would it make sense to have a  
24 fourth option which is a user-defined efficiency  
25 based on an actual product?

1           MR. SHIRAKH: I think so. I know we're  
2 providing a user input for inverter efficiencies.  
3 I mean, I don't see any problem with that. And  
4 Bruce is saying, yeah.

5           MR. WILCOX: Well, the solar calculation  
6 here is an adaptation of the NREL PV Watts  
7 Program. Those categories are built into the NREL  
8 program. These could be definitely added. We  
9 recently added tracking.

10          MR. SHIRAKH: Well, we have a similar  
11 comment from some solar vendors, manufacturers,  
12 Sundried (phonetic), I believe. So yeah, we can  
13 have a user-defined efficiency.

14          MR. CAIN: A bucket for user defined?

15          MR. SHIRAKH: Yeah.

16          MR. CAIN: Yeah. It may be helpful.

17 Thank you.

18           Okay, so and on pre-cooling and the next  
19 topic, pre-cooling being in the, essentially, the  
20 PV and battery efficiency score, and I -- it  
21 seems that's, to me, more of an efficient -- I  
22 know that there's a demand response aspect to it,  
23 but it also communicates with building  
24 ventilation and some other parts in the  
25 efficiency score, so I'm wondering whether pre-

1 cooling ought to be on the efficiency side in the  
2 efficiency EDR score rather than the self-  
3 utilization efficiency score. That's --

4 MR. SHIRAKH: No. We thought about that.  
5 The problem is, I mean, we just heard concerns  
6 about trading off battery storage against  
7 efficiency. And since the battery storage is  
8 going to be there, everybody knows it and it's  
9 got some automatic controls, you know, you should  
10 work with the pre-cooling credits, that's not the  
11 case.

12 You know, at the time of inspection, we  
13 don't even know who's going to occupy the  
14 building and if they're going to enter into an  
15 agreement with their local utility, if they're  
16 going to get the signal, so it's very occupant-  
17 dependent. So trading away efficiency features  
18 for something that's very precarious, you know,  
19 seemed questionable.

20 And also, the magnitude of this credit is  
21 very small. I mean, if you're worried about  
22 downsizing your PV system, we're probably talking  
23 about 100 watts or something. I mean, it's  
24 just -- it's in the noise when it comes to  
25 impacting the size of the PV system.

1           MR. CAIN: But you also said in your  
2 presentation, if I can clarify, it sounded as  
3 though you say if there is batteries specified  
4 and there's a compliance credit associated with  
5 the batteries and the EDR score, that that sort  
6 of switches off the --

7           MR. SHIRAKH: It doesn't switch off, it's  
8 just basically the battery storage --

9           MR. CAIN: That's --

10          MR. SHIRAKH: -- uses all the credits --

11          MR. CAIN: So --

12          MR. SHIRAKH: -- that the pre-cooling  
13 would have claimed.

14          MR. CAIN: Okay.

15          MR. SHIRAKH: And so if you turn on that  
16 the pre-cooling switch, you'll see no difference  
17 in the EDR score if there's already a credit --

18          MR. CAIN: Okay.

19          MR. SHIRAKH: -- or battery storage.

20          MR. CAIN: Okay.

21          MR. SHIRAKH: So you know, it's a small,  
22 very small credit.

23          MR. CAIN: Okay. So the 90 percent of  
24 those incremental things is not impacted by the  
25 pre-cooling; is that what you're saying?

1           MR. SHIRAKH: So pre-cooling takes  
2 advantage of the energy usage of the house  
3 between midday electricity which is cheap and on  
4 paid which is expensive. Battery storage does  
5 exactly the same thing except it does it on a  
6 much wider scale. Pre-cooling only impacts the  
7 air conditioning loads of the house. Battery  
8 storage swings everything. So that's why if  
9 you -- you know, when you install a large enough  
10 battery storage and enable it, then these other  
11 DR measures because rather insignificant  
12 because --

13           MR. CAIN: Okay.

14           MR. SHIRAKH: -- battery storage is the  
15 biggy, the monster.

16           MR. CAIN: Okay. Thank you. I am  
17 curious, though, what -- the pre-cooling, is that  
18 just only extreme days or is there --

19           MR. SHIRAKH: So it is, yeah. I mean, it  
20 kind of works, the benefits are TDV-driven.

21           MR. CAIN: Okay.

22           MR. SHIRAKH: So it's the same concept as  
23 battery storage. And --

24           MR. CAIN: Okay.

25           MR. SHIRAKH: -- this will work based on,

1 I mean, the forecasted data. You know, if  
2 there's a heat wave forecasted the next day, then  
3 presumably the utilities can send a signal --

4 MR. CAIN: Okay.

5 MR. SHIRAKH: -- an appropriate signal to  
6 set the setpoint down prior to onset of the  
7 highest peak.

8 MR. CAIN: Okay. Thank you. And a final  
9 couple of points here, just related to our  
10 friends at the NRDC, and I'm personally a big fan  
11 of NRDC and we agree with them on almost  
12 anything, but the temporary thing is, no. I  
13 mean, we've had a compliance credit for solar  
14 thermal for, you know, decades. PV -- a  
15 compliance credit only began in the 2013  
16 standards in a small way in some climate zones.  
17 We got it expanded in 2016. It's now not even a  
18 compliance credit for PV, it's batteries.

19 We need to continue to make batteries an  
20 attractive option for builders moving forward.  
21 And you know, the cost curve will come down but  
22 it's not -- you know, it will be better in six  
23 years than three years and better in nine years  
24 than six years.

25 And then just final comment and just an



1 anecdote, on the source, the carbon, we do look  
2 forward to the Commission's development in future  
3 cycles on moving to a carbon metric. I hope that  
4 that actually happens.

5           And just the anecdotal part of this is  
6 that I was just in D.C. the last three days and  
7 came here from there on -- for the Consensus  
8 Committee of the National Green Building  
9 Standard. And we had the perennial battle over  
10 source versus site energy factors. And I was  
11 able to share with them that, hey, what we're --  
12 maybe this battle we've been talking about, site  
13 versus source, for all these years, maybe we can  
14 make that go away if we do what California plans  
15 to do and try to think into the future for carbon  
16 instead of site versus source.

17           MR. SHIRAKH: Sure. That's a very active  
18 area of discussion.

19           MR. CAIN: Thank you.

20           MR. SHIRAKH: Thank you. Any other  
21 comments in the room?

22           MR. SPLITT: Hi. It's Pat Splitt from  
23 App-Tech again. Just two comments, one about the  
24 community --

25           MR. SHIRAKH: Can you get closer there?

1 I can't hear.

2 MR. SPLITT: Can you hear me?

3 MR. SHIRAKH: Yes.

4 MR. SPLITT: Okay. It's just that I  
5 can't read with this thing right in my face.

6 For the community solar, the fourth  
7 quarter of this year I'm going to be doing --  
8 working on a lot of buildings that won't get  
9 applied for a permit until next year. Now I have  
10 many buildings that might like to take this  
11 credit. There are a lot of buildings up in the  
12 Santa Cruz Mountains that, you know, are  
13 surrounded by redwoods, but indecent conduct  
14 can't wait until January of next year for you  
15 guys to come up and to certify something because  
16 I don't know if it's really there, so I don't  
17 know whether I can take this credit or not.

18 So I hope somebody's trying to shake the  
19 trees to get something done maybe three months,  
20 at least three months before that so that --

21 MR. SHIRAKH: The builders, the  
22 Commission, the utilities, we're working on this.  
23 And I think Bill Pennington is sitting here. I  
24 mean, that's primarily what he's doing. These  
25 are very complicated issues. You know, there may

1 or may not be. If you are building in the,  
2 again, in the redwoods up Santa Cruz or Sequoias,  
3 if the building is shaded, you know, you're  
4 exempt from PV requirements so you don't need a  
5 community solar.

6 But I cannot promise that there will be  
7 anything because there is really an earnest  
8 effort. There's NEM rules. There are  
9 interconnection rules. Some of them are in NEM  
10 regulations. Some are in statutes. And there's  
11 single-family, there's multifamily. And the  
12 questions and issues are very complicated and  
13 interconnected. We're sorting through those  
14 problems. I'm usually the optimist in this  
15 office and even I am very cautious in promising  
16 that there may be a community solar concept very  
17 soon.

18 MR. SPLITT: Okay. So my takeaway is the  
19 optimist is pessimistic?

20 MR. SHIRAKH: I mean, I don't know.

21 Bill Pennington, you want to add  
22 something to this?

23 MR. PENNINGTON: Yeah. There are a lot  
24 of barriers by statute or regulatory decisions  
25 that the PUC has made for this to be possible.

1 IOUs have less constraints and so SMUD is very  
2 interested in having a program. We've also been  
3 contacted by Plumas-Sierra cooperative and they  
4 think they can create a program. Maybe CCAs  
5 could create programs. We haven't seen interest  
6 from CCAs on this yet.

7 MR. SPLITT: Um-hmm.

8 MR. PENNINGTON: So to correct the laws  
9 that are blocking the IOUs and then a new  
10 procurement after those laws are corrected is  
11 probably three years, something like that.

12 MR. SPLITT: Okay.

13 MR. SHIRAKH: So it's not for a lack of  
14 desire --

15 MR. PENNINGTON: Yeah. Exactly.

16 MR. SHIRAKH: -- on our part. It's just  
17 the more we looked into it the more issue we  
18 found. Again, they're not insurmountable but  
19 they're going to take a significant amount of  
20 time --

21 MR. PENNINGTON: Okay.

22 MR. SHIRAKH: -- and a lot of willpower.

23 MR. PENNINGTON: Okay. I won't plan on  
24 using that.

25 So just one other comment. It was

1 mentioned previously that there's software  
2 programs that you can do shading and extrude your  
3 building up to get it -- so I've been looking.  
4 You know, I haven't just been snoozing here.  
5 I've been looking at different shading programs  
6 and how they work and how much they cost. And  
7 the problem I see and I have seen is if I have a  
8 house that's in town, I have the plans for my  
9 building, proposed building, but the shading is  
10 coming from adjacent buildings that I don't have  
11 any control over and don't have access to the  
12 plans. And it might be a neighbor that really is  
13 unhappy about this person building a house that's  
14 going to shade his view or something, that he's  
15 never going to give me these.

16           So there are other things, other than  
17 just being to model your own home, to find out  
18 what's going to be shaded or not shaded.

19           MR. SHIRAKH: So that first exception  
20 that I showed specifically for that situation is  
21 the shading issues that are outside of the  
22 builders control and specifically mentions trees  
23 and existing buildings. So if you do have an  
24 existing high-rise next to your building that  
25 shades the sun during the afternoons, then it's

1 probably not a good candidate for a PV  
2 installation. You can probably use that  
3 exemption. You know, you have to document that.

4 MR. SPLITT: Yeah, but I have to document  
5 it, so I have to model that. It is a shading  
6 problem.

7 MR. SHIRAKH: You have to, yeah. And  
8 then you can use the device that I think Joe  
9 mentioned. And you know, we have also left the  
10 door open for other approaches because, you know,  
11 we recognize, you know, we don't -- can't foresee  
12 all the problems and all the solutions. So new  
13 devices and solutions can be approved.

14 Joe, you want to elaborate on that again?

15 MR. SPLITT: Yeah. Just one more thing  
16 is that another thing that can happen is I've had  
17 three adjacent lots and they're all sort of soon  
18 going to be building houses at the same time.

19 MR. SHIRAKH: Yeah.

20 MR. SPLITT: You have to set it up so  
21 that the first guy in doesn't grab the sun and  
22 the other guys lose.

23 MR. SHIRAKH: Yeah. I mean, those are  
24 interesting issues that's going to come up.

25 Joe, did you want to -- thank you, Pat.

1 MR. CAIN: Joe Can with SEIA.

2 Pat brings up a really interesting  
3 question because, of course, with these  
4 standards, you know, applying the new  
5 construction up to three stories, we have to be  
6 thinking, concurrently thinking of the new  
7 residential development or multifamily or  
8 whatever it may be that's in kind of new open  
9 space, and plus we also have to think of the new  
10 construction within existing built-out  
11 neighborhoods. And so I think it's a really  
12 excellent question.

13 And so what I would say to that is that  
14 the -- and I'm going to keep an eye on some of my  
15 other solar folks to see if they shake their head  
16 in an up-and-down fashion to give me a queue, but  
17 in the PV on existing building space, solar  
18 resources have -- our question, I mean, design  
19 resources have improved over time to where,  
20 again, there are particular proprietary packages  
21 that can interpret satellite images and convert  
22 those into 3D models of existing homes, including  
23 roof pitch and roof dimension, and they get  
24 pretty darn close.

25 So I guess what I'm thinking, and this --

1 and in response to Pat's question, is there may  
2 be a mesh of looking at some of those resources  
3 that can take a 3D, you know, satellite images  
4 and convert them into 3D space to represent the  
5 existing buildings and topography and then mesh  
6 that with some of the other new software packages  
7 that were maybe same that can project drawings,  
8 you know, of new buildings into a 3D space. So  
9 it may be a mesh of things that we have been  
10 doing for existing buildings and things that we  
11 would do for new buildings.

12 MR. SHIRAKH: Thank you, Joe.

13 MR. CAIN: I think it's time for me to  
14 re-up my membership in CBECC.

15 MR. SEVERANCE: Bruce Severance,  
16 Mitsubishi Electric. I'll try to be extremely  
17 brief.

18 Just hearing the other comments made me  
19 feel like there was a few things that probably  
20 should be added to what I was saying earlier.  
21 And the concern about solar access in new  
22 communities, I mean, that shouldn't even be a  
23 problem. Because in a new community, you're  
24 allowed to orient the streets and the lots in any  
25 way you want. And there really should be



1 something, I was talking to Martha Brook about  
2 this, this last week, encouraging builders to  
3 look at passive solar features.

4           CBECC currently does not model full slab  
5 insulation and all of the radiant gains on  
6 interior surfaces, like passive house software  
7 does. It would be marvelous is, you know, it has  
8 like four of the six features that would allow us  
9 to model passive houses but it doesn't have all  
10 of them. And I've seen passive house designs in  
11 custom home building that, for the \$3.00 a square  
12 foot of additional cost in the under slab  
13 insulation, 50 percent of the heating and cooling  
14 loads are shaved. And from a grid harmonization  
15 standpoint, this is something that, you know, we  
16 really should be thinking about in the next code  
17 cycle.

18           And if we're designing passive  
19 communities and we're orienting streets east and  
20 west and the lots are east and west, then we're  
21 not -- and we're planting shade trees, you know,  
22 thoughtfully we're not going to be having small  
23 setbacks where we don't want them and shading  
24 where we don't want it from adjacent structures.

25           So that's really part of the community

1 planning piece of that in my mind. And in new  
2 community developments, it's certainly something  
3 that can be avoided. Obviously, when we're  
4 filling in around existing structures, that's a  
5 different thing.

6           Just touching on leakage again, I just  
7 had to tell an anecdote about this, and that is  
8 that having seen a lot of energy upgrades being  
9 performed the usual scenario is you take the  
10 insulation out, you take the R-38 insulation out  
11 and you send a crew in to vacuum, clean, air seal  
12 the heck out of the attic, and the client comes  
13 home and says, wow, did you already insulate,  
14 because the effect of reducing air leakage on the  
15 attic plain is so  
16 significant.

17           So the point that I make here is that to  
18 give up -- to not have a standard for air leakage  
19 is just crazy because that's such a significant  
20 issue. And if we're really talking about load  
21 shifting and the ability to pre-cool and preheat  
22 a home, I have a bias towards air source heat  
23 pumps independent of working for Mitsubishi  
24 because radiant really doesn't offer the same  
25 opportunities for dehumidification and cooling,

1 you know, in the same way that an air source heat  
2 pump can do that. And I just think that the  
3 opportunity to create a home that has much lower  
4 leakage that we can preheat and pre-cool and ride  
5 through the peak in the evening is significant.

6           At the CVRH homes, they've just tested a  
7 PCM phase change drywall material that is  
8 increasing the ability of a 1953 home to preheat  
9 and pre-cool. And the preheating condition is  
10 showing better results. You know, the data  
11 hasn't really been released from that but Rick  
12 Chitwood is pretty excited about it. Bruce is a  
13 bit more skeptical.

14           But nevertheless, the point being that on  
15 new construction, we shouldn't be missing that  
16 opportunity. We should really be looking at  
17 designing the shells to allow that preheating and  
18 pre-cooling. And that completely eliminates most  
19 of the need for a battery if that kind of  
20 thinking is built into it.

21           And I understand your concern about  
22 somebody having to sign up for a program and  
23 really, you know, programming their equipment to  
24 do that. I think that's where time-of-use  
25 metering, you know, should be something that

1 really incentivizes that for the homeowner.

2           You know, in the big picture thinking,  
3 everything that we're doing, focusing on the  
4 buildings, TDV and all the problems we have  
5 managing the grid, would be radically shifted if  
6 the CEC is also really talking with higher-ups in  
7 the government about offshore wind and really  
8 changing the grid mix so that we don't have this  
9 high emissions deviation over time, both over the  
10 period of a year and on a daily basis. So taking  
11 that grid emissions charts and making the whole  
12 thing green would certainly help the condition  
13 and really help lower emissions on the HVAC side  
14 on an all-electric HVAC install in existing  
15 structures that maybe are not built to the same  
16 standard of what we're talking about today.

17           So all that being said, big picture,  
18 we've got SB 100 to think about and that really,  
19 we need to align what the CEC is doing with SB  
20 100 goals. So thank you very much.

21           MR. SHIRAKH: All right. I don't know if  
22 I can remember all the points you made but I'm  
23 going to respond to a couple of them.

24           On the exceptions, you know, when we were  
25 designing these exceptions, we assumed what you

1 were just saying, that the builders, production  
2 builders should and must be thinking about proper  
3 roof design and roof lines. So there's nothing in  
4 these exceptions that allows them to get out of  
5 this PV requirement because they have a bad roof  
6 design.

7           For instance, this exception one, it  
8 says, "shading from existing permanent, natural  
9 or manmade barriers external to the dwelling,  
10 including but not limited to trees, hills, and  
11 adjacent structures." There's nothing here  
12 about, oh, I have a poor roof line.

13           And the other exceptions, again, it's the  
14 same, it's just two, three and four are just a  
15 recognition of practicality of these other  
16 buildings, there's limitation. The only exception  
17 that allows them to get out of the PV requirement  
18 because of the poor roof design is exception  
19 five. But again, that's only a one-time pass and  
20 that's only for buildings that the master plan  
21 has been approved prior to effective date and the  
22 permits are pulled after the effective. Beyond  
23 that, that exception pretty much goes away.

24           On the question of -- I think your  
25 question was, oh, the ACH 50, the air leakage,

1 the current assumptions is 5 ACH at 50 pascals.  
2 The builders are routinely achieving three or  
3 less ACH. And you know, if they choose to they  
4 can get planned credit for that. But you know,  
5 they can achieve three or even two currently,  
6 which is a good thing.

7           And the other thing I wanted to share  
8 with you was this idea that doing a good job on  
9 cooling will negate the need for battery storage  
10 system. If you look at -- I don't know, you  
11 probably -- you know, these numbers are too small  
12 on these TVs, but the annual energy consumption  
13 of this house is about 5,200 kilowatt hours. Of  
14 that, only 400 kilowatt hours is coming from  
15 cooling.

16           So the good thing about batteries is that  
17 they actually swing the entire load of the house.  
18 Look down here, where are the biggest loads?  
19 It's not up here anymore. They've done a damn  
20 good job with the building and with open shell.  
21 You know, we're going to squeeze the hell out of  
22 heating and cooling, the stuff that we have  
23 control over. Where we're not, you know, being  
24 as saving a whole lot or maybe we don't have a  
25 choice is where the appliances are used,

1 lighting, TVs and so forth.

2           So this is where the biggy is, is down  
3 here, it's the 2,400 almost for plug loads, 1,000  
4 for appliances and cooking and so forth. So the  
5 batteries can actually swing all those loads, not  
6 just space cooling, that's just one component.

7           This is 12, Sacramento, where we have --  
8 we don't exactly have spring-like conditions in  
9 August.

10           Any other questions in the room? What  
11 about online?

12           MR. WILCHERT: Yeah, we have a few  
13 online.

14           Geoffrey, I'm going to un-mute you. Can  
15 you state your name and affiliation? Geoffrey,  
16 are you there? You're un-muted.

17           Okay, we'll move on to George. Go ahead  
18 and state your name and affiliation.

19           MR. NESBITT: Yeah. George Nesbitt,  
20 HERS. Can you hear me?

21           MR. WILCHERT: Yeah, we can hear you. Go  
22 ahead.

23           MR. NESBITT: Okay. I'd like  
24 (indiscernible). And I'm getting feedback. Just  
25 one second.

1 MR. SHIRAKH: You're cutting out every  
2 other word, George.

3 MR. NESBITT: Okay. Well, you have to  
4 mute all the mikes on your end while I'm  
5 speaking.

6 MR. SHIRAKH: Now we can hear you.

7 MR. NESBITT: That's my -- yeah. So I'm  
8 going to start on the carbon emissions  
9 (indiscernible).

10 MR. SHIRAKH: You're cutting out. We  
11 can't hear you, George.

12 MR. NESBITT: Yeah. Okay. Great.

13 MR. SHIRAKH: Can you type it and  
14 we'll --

15 MR. WILCHERT: I have -- I can read your  
16 questions if you want, George, or if you want to  
17 try again, if you --

18 MR. NESBITT: Well, I don't have  
19 everything written but --

20 MR. WILCHERT: Go ahead and just --

21 MR. NESBITT: (Indiscernible) remote  
22 participation but --

23 MR. SHIRAKH: You're cutting out. We  
24 can't hear you.

25 MR. NESBITT: If you mute all the mikes



1 in your room, you should be able to hear me  
2 without echo.

3 MR. SHIRAKH: There is --

4 MR. NESBITT: That's my observation from  
5 lots of remote participation.

6 MR. WILCHERT: We can hear you pretty  
7 well now. Why don't you go ahead and just try to  
8 get through your questions?

9 MR. NESBITT: Yeah. Okay. I wanted to  
10 start with the carbon emissions. This is  
11 something I think we've all -- many of us have  
12 been asking for since the start of the CBECC  
13 development. It's also something that we've had  
14 in the HERS rating system that was approved in  
15 2008.

16 One thing I would like to ask is that you  
17 create a chart the same as the energy use details  
18 for the energy design rating with the carbon  
19 emissions for each end use, gas and electric.  
20 That would be a lot more usable and helpful.

21 MR. SHIRAKH: We actually have that tab  
22 in our research version. We can add it to the  
23 public version.

24 MR. NESBITT: Okay. Great. Second,  
25 community solar, I'd also like to thank the

1 Commission for having the foresight to include  
2 something that doesn't exist in reality yet, just  
3 like with the charge indicator light. Whether it  
4 will come to market and when, I don't know, but I  
5 hope it does. And it certainly can because we  
6 have virtual metering already. So the solar  
7 system and the meter do not have to be physically  
8 connected. It's the regulatory problem.

9           And three, PV exceptions, are there any  
10 requirements for additional efficiency measures  
11 if you invoke any of the PV exceptions. And then  
12 in related, if community solar is a viable  
13 option, why would you be able to invoke an  
14 exception?

15           Those are questions.

16           MR. SHIRAKH: The answer to your first  
17 question is if the PV is waived, the requirement  
18 is exempted, are there more requirements for  
19 energy efficiency? The answer is, no.

20           And your second question is if a building  
21 is eligible for an exception for onsite PV  
22 system, why should they be exempt from a  
23 community solar? The reason for that is that --

24           MR. NESBITT: No, the other way around.

25           MR. SHIRAKH: -- well --

1 MR. NESBITT: Yeah.

2 MR. SHIRAKH: -- the way it works, the  
3 amount of community solar credit, the size of the  
4 PV system for a community solar is determined by  
5 the CBECC software using the exceptions, so  
6 that's the way we've set it up. And it's partly  
7 because, you know, we couldn't tell builders that  
8 you can't put a PV, go put in community solar  
9 when we're not even sure if there's going to be a  
10 community solar requirement.

11 So to have an exception for onsite PV and  
12 then force the builders to enter into a community  
13 solar program that doesn't exist didn't seem like  
14 the right thing to do at the time but that --

15 MR. NESBITT: Yeah. My --

16 MR. SHIRAKH: -- (indiscernible).

17 MR. NESBITT: -- my only concern is that  
18 some people are going to have to invest in solar.  
19 They also reap benefits. But some people aren't  
20 and we're going to give them free ride. They get  
21 to reap the benefits but they also don't --  
22 anyway.

23 So next issue.

24 MR. SHIRAKH: So you're cutting our again  
25 but the --

1 MR. NESBITT: Yeah.

2 MR. SHIRAKH: Oh, sorry, I think my -- I  
3 have to re-mute my --

4 MR. NESBITT: Yeah, that's fine.

5 So next issue is the standard budget and  
6 tradeoff. As you said, Mazi, you know, we have  
7 an efficient building enclosure, and then you  
8 mention passive house. Well, in passive house,  
9 you cannot trade off the efficiency of the  
10 building enclosure, whereas in California Energy  
11 Code you can trade off heating, cooling,  
12 ventilation and water heating budgets. And even  
13 though our baseline prescriptive package that  
14 becomes the standard budget is an efficient  
15 enclosure, because of federal exceptions on  
16 equipment, you can put in high-efficiency heating  
17 and cooling and water heating equipment, and you  
18 can trade off a significant portion.

19 And I just want to reiterate that we  
20 really do need an efficient building first.  
21 Equipment gets upgraded on shorter timeframes and  
22 it cheaper to upgrade than the building.

23 So the last issue is the energy design  
24 rating. And I'm just wondering how it complies  
25 with the Public Resources Code directing the

1 Energy Commission to have an energy rating  
2 system, a single energy rating system for new and  
3 existing homes, and how does it comply with the  
4 Energy Commission's Title 20 HERS Regulations,  
5 including the HERS rating system?

6 And that will preclude my questions and  
7 comments for now.

8 MR. SHIRAKH: Well, thank you. I don't  
9 understand that last comment, meaning we didn't  
10 see any conflict between any energy design rating  
11 and any of the statutes that govern our  
12 authority, so I'm not aware of any conflicts  
13 there.

14 I don't know if anybody in the audience,  
15 Christopher or Bill, want to chime in on that?

16 MR. MEYER: Yeah. This is Christopher  
17 Meyer, Manager of the Buildings Standards Office.

18 Yeah, we're using the EDR as to verify  
19 compliance with the standards, not as a rating.  
20 That was to be in conflict with that rule of one  
21 system. So that's something, you know, we have  
22 looked into and that's why we're using it as we  
23 are, as a compliance tool, rather than putting it  
24 out as a rating system for, you know, new and  
25 existing buildings.

1 MR. SHIRAKH: Thank you, Christopher.

2 Thank you, George.

3 Any other online comments, RJ?

4 MR. WILCHERT: Yeah. Next we'll go to  
5 Jeremiah. I'll un-mute now.

6 MR. ELLIS: Good morning everyone.

7 Jeremiah Ellis, Duct Testers. I had a real quick  
8 question.

9 Mazi, in your presentation, you were  
10 showing the energy design rating score on an  
11 index of sorts, similar to the RESNET scale. And  
12 I was wondering if that is something that's going  
13 to be developed into the software as part of the  
14 reporting, the final reporting that are available  
15 from the software? Because the builders would  
16 love to see that.

17 MR. SHIRAKH: Sorry. I have to mute  
18 myself, then un-mute.

19 Yeah, I think you were referring to this  
20 screen. Is that what you were referring to?

21 MR. ELLIS: Correct. Right.

22 MR. SHIRAKH: And so on the right, you  
23 know, this is not part of our requirements. You  
24 know, that's just a chart, shows where we are on  
25 the EDR score, although it's possible to, you

1 know, come up with some kind of like an ENERGY  
2 STAR-type of a label. I mean, that, you know, we  
3 can do that. So you know, the software will  
4 report your EDR score, the CF1R does, and so  
5 you'll get a report currently that includes an  
6 EDR score for both energy efficiency, the PV plus  
7 flexibility, and a final EDR. So that report is  
8 already available.

9           Bruce Wilcox wants to either correct me  
10 or add something to it.

11           MR. WILCOX: Well, we're currently in the  
12 process of revising the printed CFR report, all  
13 the reporting, actually, using a new software  
14 system for that. And so the 2019 software that  
15 we released for review does not have final  
16 versions of any of those reports in there. So  
17 the onscreen reports are pretty much the way  
18 you've shown them, Mazi.

19           MR. SHIRAKH: Yeah. The onscreen  
20 reports, you know, they show that, you know, we  
21 will expect that ultimately they will be on CF1R.  
22 Is that your expectation?

23           MR. WILCOX: CF1Rs are being revised but  
24 they're -- you can actually see two different  
25 versions of the CF1Rs, the old one that doesn't -

1 - isn't right and the new one that isn't right.  
2 And so don't get excited about the fact that they  
3 don't agree or that they're not right because  
4 those are in process.

5 MR. MEYER: Yeah. This is Christopher  
6 Meyer again. Just going back to the last comment  
7 we received on what the other offices are doing  
8 on, you know, the HERS 2 rulemaking that will be  
9 coming up in the future. That's why this was  
10 designed as a part of the compliance tool just  
11 to -- we wanted to align with the RESNET. But if  
12 we start using this as some sort of a sticker you  
13 put on the side of your house, then, you know, we  
14 need to, you know, work through a different  
15 process because then it's used as a rating system  
16 for the house rather than a metric, basically, to  
17 determine whether you're in or out of compliance  
18 for our standards.

19 MR. SHIRAKH: It would actually be nice  
20 if we can come up with a label that has the  
21 elements of this, what I have. Again, this is  
22 not required per our standards. I just put this  
23 because it's got cool colors and it's good  
24 information, but it can also show the EDR score  
25 of your house. So like in here it says 2019,



1 efficiency is 15 to 27, but this house is at 8.  
2 I mean, that would be good information but that's  
3 not related to this workshop.

4 Any other comes online?

5 MR. WILCHERT: Yeah. I'm going to read a  
6 couple here.

7 This one is from Geoffrey Yamasaki. "For  
8 three-story multifamily developments with no  
9 shading, full solar access, I understand that  
10 there will be a user input for the proposed PV  
11 capacity based on the calculation. My question  
12 is whether the software will account for the roof  
13 area in the baseline, especially for pitched  
14 roofs where essentially half of the area is  
15 unusable due to orientation?"

16 MR. SHIRAKH: That's the -- this  
17 exception, was it a three story? So that's the  
18 exception for here. So what this exception does,  
19 it modifies the PV requirement, both  
20 prescriptively and in the performance software,  
21 to reduce the PV requirement baseline down to a  
22 0.8 watt per square foot of conditioned area. So  
23 this would be roughly, I think like a 2.4  
24 kilowatt PV system for this prototype. And that  
25 takes up about 150 square feet of roof area.

1           So we did look at many different plans  
2 that architects sent to us and we found that most  
3 of them could easily meet this requirement. You  
4 know, even if half of the roof is shaded, you  
5 still have the other half to work with. And it's  
6 not that difficult to come up with, you know, 120  
7 to 140 square foot to accommodate this  
8 requirement, given that, you know, the  
9 requirement is that you have to think about your  
10 roof lines when you're designing this building  
11 and the location of chimneys and other -- all the  
12 other obstructions. And so if that is the case  
13 and there are no external shading and obstruction  
14 issues, like trees and adjacent buildings, we  
15 didn't even identify -- we couldn't identify any  
16 scenarios where this requirement was a problem.

17           MR. WILCHERT: Okay. I have one more  
18 from Kelly Gamino. "Will this model take into  
19 consideration emissions reductions co-benefits in  
20 addition to the carbon emissions, and in  
21 particular, NOx? And additionally, I would like  
22 to recommend, since all the data will be  
23 available, the co-benefits also be quantified so  
24 that they can be taken into consideration when  
25 determining energy efficiency options."

1           MR. SHIRAKH:  Actually, when you talk  
2 about NOx, you know, we've considered CO2 issues.  
3 We're considered refrigerant leaks.  And the only  
4 way we can capture the consequences of these  
5 externalities is by including their cost into our  
6 TDV metric.  There are currently cost  
7 consequences for CO2 emissions.  And there are  
8 numbers and algorithms that have been approved by  
9 the CPUC.  None exist for other kind of  
10 pollutants.  If and when they become available it  
11 is possible to incorporate them into the TDV  
12 metric.

13           We are talking to the CARB, the Air  
14 Resources Board, about how to capture the  
15 implications of GHG consequences, of refrigerant  
16 leaks from heat pumps, all the refrigerant  
17 equipment that use a compressor.

18           So, yeah, in theory it's possible but we  
19 have to have the right numbers and methodology  
20 before we can incorporate it.

21           So that's all the questions we have for  
22 this section.  I thank you and I'll turn it back  
23 over to Larry.

24           MR. FROESS:  Yeah.  Thank you very much  
25 to the commenters.  Why don't we take a 15-minute

1 break before we start into the next section, so  
2 why don't we return here at 11:15.

3 (Off the record at 11:00 a.m.)

4 (On the record at 11:21 a.m.)

5 MR. FROESS: Okay, welcome back. We're  
6 going to start the next section which will be  
7 envelope, HVAC and water heating. After that,  
8 we're going to have another public comment  
9 session. We have on our schedule to have a lunch  
10 break but we are anticipating the third session,  
11 going HERS and miscellaneous topics, won't take  
12 more than 15 minutes, so we're going to propose  
13 to not do a lunch break but we'll do the public  
14 comments after this next round. Then we go right  
15 to the end with a final round of questions and we  
16 should be out of here, maybe by 12:30 or 1:00.

17 So the next session is going to be  
18 envelope topic. And Dee Anne Ross will be our  
19 presenter.

20 MS. ROSS: So I'm Dee Anne Ross. I'm  
21 usually CBEECC-Res support. And the rulemaking is  
22 over so we're not revisiting any envelope  
23 requirements. This is just an overview of what's  
24 in the software and the ACM Reference Manual.

25 So R-19 in roof deck insulation, below

1 roof deck insulation, it used to be R-13. And  
2 Option A is -- well, actually, that's not really  
3 relevant but Option A doesn't exist anymore, but  
4 you can still model above deck roof insulation.

5           And this is ceiling, attic, ceiling, oh,  
6 this is in multifamily. Multifamily category  
7 didn't previously exist. We added that table.  
8 And so in Climate Zones 10 and 16, it has R-13  
9 below roof deck insulation. And that's about the  
10 highlight of that.

11           And in walls, it was previously R-19 plus  
12 R-5, and that was an 0.51 U-factor and now it's  
13 0.48 in most of the climate zones, and 6 and 7,  
14 they did not change. And multifamily is still  
15 0.51 in most of the climate zones. And in Climate  
16 Zones 6 and 7, it's 0.65. And that's about the  
17 highlight of what's changed there. And I do have  
18 on here, when you -- if you download the slides  
19 later, the ACM section where this is in --  
20 documented in the ACM.

21           And demising walls or garage walls, they  
22 have the same cavity insulation value as is  
23 normally required in the wall, just no continuous  
24 insulation. And we have documented in the ACM  
25 the exceptions for additions where either an

1 extension of the wall or an existing wall without  
2 siding removed. And the U-factor for windows is  
3 now 030 instead of 0.32, 0.32, I'm sorry, I'm not  
4 speaking very clearly. And the SHGC in most  
5 climate zones that was 0.25 is now 0.23. And in  
6 Climate Zones 1, 3, 5 and 16, 16 changed from a  
7 low SHGC Climate Zone to what's referred to as NR  
8 in the packages, those are all 0.35, whereas it  
9 used to be 0.50 for no requirement SHGC.

10           And QII is required for single-family --  
11 I'm sorry, not required but it's part of the  
12 standard design for all climate zones and single-  
13 family construction and additions greater than  
14 700 square feet, and in multifamily, it's all  
15 climate zones except 7 for both new construction  
16 and additions greater than 700 square feet.

17           And that's it for me.

18           (Colloquy)

19           MS. ROSS: I'll do it. Additions, so  
20 addition compliance is expressed in TDV, not EDR.  
21 And PV is not required for additions. And then I  
22 just included the language that's in section 1.3  
23 to prove it's really in there.

24           MR. FROESS: So the next topic we're  
25 going to talk about is HVAC. The first one here

1 is for two new space conditioning airflow  
2 requirements. Small duct high-velocity systems  
3 can now meet an airflow requirement of greater  
4 than 250 CFM per ton. Previously, they didn't  
5 have a requirement but they had to size  
6 themselves through a prescriptive version. And  
7 for systems with less than 350 CFM per ton for a  
8 zoning controlled single-speed compressor, those  
9 will requirement HERS verifications and they can  
10 not be -- use the group sampling method. They  
11 have to be tested on 100 percent cast-by-case  
12 basis.

13           We have a verified air handling unit fan  
14 efficacy change. Small duct high-velocity  
15 systems must verify to a fan efficacy of less  
16 than or equal to 0.62 watts per CFM. A new change  
17 for gas-fired furnaces, anyone manufactured after  
18 July 3rd of 2019 will now have an efficacy  
19 requirement of less than or equal to 0.45 watts  
20 per CFM. All other systems, such as heat pumps,  
21 will remain at the less than or equal 2.58 watt  
22 per CFM.

23           We're going to improve the user interface  
24 for buried ducts. We updated the table to  
25 account for the new R values and mandatory

1 requirements for duct insulation. They're  
2 clarified, the qualification criteria for buried  
3 ducts. Deeply buried ducts can now be available  
4 without lowering the duct chase. And currently we  
5 were trying to get a new user interface into this  
6 alpha version of the software but didn't quite  
7 make it. So in the next version, we're going to  
8 have a user input screen where they can just  
9 input duct lengths, R values and what zones  
10 they're in and it will do all the math for you.  
11 Currently, you have to do a side calculation and  
12 then input the resulting values into the  
13 software.

14 Whole house fans, a little bit of a  
15 change. Currently, for 2016 the standard design  
16 is a 1.5 CFM per square foot of conditioned floor  
17 area and a 0.1 watt per CFM. We've increased  
18 that fan efficacy to a 0.14 watt per CFM now.  
19 You can get credit if your installation has more  
20 than 1.5 watts per CFM and/or less than the 0.14  
21 watt per CFM without having a HERS verification.  
22 You can get additional credit with a HERS  
23 verification wherein the software essentially  
24 increases your airflow by one-and-a-half times.  
25 And a new feature is we have the ability to model



1 a whole house fan in a cathedral ceiling. So  
2 houses that don't have attics, previously you  
3 couldn't model them but now you can if you use an  
4 approved fan.

5 Central fan ventilation cooling system,  
6 there is some credit available due to the  
7 ventilation, airflow and fan efficacy which  
8 reduces the cooling energy.

9 Water heating, there's some new  
10 compliance credits. The first one is a compact  
11 hot water distribution. And within that, there  
12 are three selections, none which is on credit,  
13 you can do a compact distribution basic credit  
14 which does not require a HERS verification, and  
15 the third one is a compact distribution expanded  
16 credit which does require a HERS verification.  
17 And that's -- there's a screenshot there where  
18 that's done. That's in the DHW System Data tab  
19 and you just select the distribution compactness  
20 and make your selection.

21 The next one is drain water heat recovery  
22 system. This is a new feature as well. There's  
23 three configuration choices available. One is  
24 equal flow and this is where you have your drain  
25 water heat recovery device after the drain and

1 the water returns back to the water heater and  
2 also partially close up the shower. The next one  
3 is an unequal flow where all of the heat exchange  
4 water flows back to the water heater. And the  
5 third is an unequal flow where all the water  
6 flows back to the inlet of the shower. The  
7 efficiency input is based on the CSA rated  
8 efficiency based on the manufacturer. And you  
9 can configure this with multiple showers,  
10 multiple configurations, you can mix and match  
11 them, so there's a lot of flexibility with that  
12 option.

13           Here's another screenshot. You input --  
14 it actually shows up as a new object and a device  
15 right below the water heaters. You can see that  
16 on the bottom left. So you're actually creating  
17 a new device and defining the efficiency of like  
18 DHWR-1 and 2, for example. And then under the  
19 drain water heat recovery tab under the DHW  
20 System Data tab, this is where you select how  
21 many showers are available to be used. And you  
22 can then start selecting which drain water heat  
23 recovery devices is going to be attached and  
24 which configuration and how many showers is  
25 serves, et cetera. So there's, again, a lot of

1 flexibility to use that.

2           There's a new update for the standard  
3 design for water heating. We've implemented a  
4 new way to allow an all-electric house. If  
5 you -- currently, in 2016, you always have gas-  
6 fired instantaneous water heater as your  
7 baseline. Now, if you've selected an electric  
8 water heater as a proposed system the standard  
9 design will switch to a 2.0 UEF heat pump water  
10 heater, along with the basic compact hot water  
11 distribution, and a drain water heat recovery  
12 system. It doesn't necessarily mean you have to  
13 design the house to include those because  
14 generally a NEA rated Tier 3 water heater would  
15 be pretty equivalent to meeting that.

16           For a multi-dwelling unit, electric water  
17 heating without recirculation, this would be like  
18 for a small like duplex, quadplex or so, without  
19 a recirc but it happens to have one central hot  
20 water heating device, the standard design will  
21 use a 2.0 UEF U-pump water heater. But for the  
22 larger multifamily dwelling units that has a  
23 recirculation system, the standard design is  
24 still a gas-fired water heater.

25           And that would round up that portion.

1 Are there any questions in person?

2           And just to remind you this, state your  
3 name and affiliation.

4           MR. SPLITT: Okay. It's Pat Splitt from  
5 App-Tech again.

6           There's currently, I don't know when it  
7 first appeared but not that long ago, it seems  
8 like there's more credit now given in the current  
9 code for heat recovery ventilators. So if I have  
10 a new home that -- a small home that maybe  
11 required 40 CFM of constant ventilation and I put  
12 a heat recovery ventilator that was 50 percent  
13 efficient, you could say it gives us 50 percent  
14 lower energy use, then I can see that you should  
15 get a credit for that.

16           But what many energy consultants have  
17 discovered is there is no upper limit. So a lot  
18 of times they're getting a lot of input from  
19 their clients that they want to remove completely  
20 all the exterior insulation or some other feature  
21 they want to change. Well, it's been discovered  
22 that if you put in this heat recovery ventilator  
23 credit, you get some credit. But if that's not  
24 enough you just put a bigger heat recovery  
25 ventilator in. So instead of 40 CFM you put in

1 400 CFM, all of a sudden it passes easily and you  
2 don't need any of these features that the builder  
3 didn't want to build. And if you take a model  
4 that had all -- was modeled like that and you  
5 just take out the heat recovery ventilator, it  
6 might fail by 40 percent of hitting the energy  
7 budget. That's huge.

8           And so not only -- so obviously, I don't  
9 want this in the new code, we want some fix, but  
10 it also has to be changed from the present code.  
11 And my suggestion is, since the program already  
12 knows the required actually ventilation rate is,  
13 that they limit the credit to 150 percent of that  
14 CFM. That gives them a little room to oversize  
15 because you can't always hit the number exactly  
16 but not a ridiculous amount, so there still is  
17 some incentive to put in the HRV ERV but it's no  
18 longer just a trick to get out of having an  
19 energy compliant envelope. It's just a big  
20 problem. It's spreading around. People are  
21 learning about it and they're all laughing, why  
22 do you pay for credit?

23           MR. FERRIS: Yeah. Well, they're  
24 cheating.

25           MR. SPLITT: But it's a big problem.

1           MR. FERRIS: Yeah. Okay. So I mean, we  
2 can -- sorry. So we can absolutely talk about  
3 putting in some limits to, you know, if -- you  
4 know, the engineers can decide if 150 percent is  
5 --

6           MR. SPLITT: Well, you picked the right  
7 number.

8           MR. FERRIS: -- accurate or --

9           MR. SPLITT: But, you know, nothing  
10 exorbitant, but the -- you know, if they have to  
11 pick a little bit size because that's the closest  
12 one they can get to provide the ASHRAE number,  
13 they shouldn't get penalized for it. But  
14 otherwise, they shouldn't get credit for it. And  
15 I think just -- I think just limiting the CFM is  
16 enough to do the job.

17           MR. FROESS: That's a good comment.

18

19           Anybody else in the room?

20           MR. DELFORGE: Pierre DelForge with NRDC.

21           So I wanted to make the comment around  
22 demand management or DR credit for water heating.  
23 So the, you know, the concept is that now that  
24 the code, you know, facilitates the -- or at  
25 least, you know, allows the use of electric water

1 heating, particularly heat pump water heaters in  
2 the code, that there's an opportunity to use this  
3 water heater as a storage device, more storage  
4 device and able to, you know, load up during the  
5 middle of the day when there's low-carbon and  
6 potentially low-cost electricity and coast with  
7 the evening peak. And you know, this is an  
8 important, you know, opportunity as we know that  
9 we have the duck curve to tackle and we're trying  
10 to, you know, harmonize with the grid to make  
11 sure that as we put these heat pump water heaters  
12 in they are, you know, as grid friendly as  
13 possible.

14           So we've been, you know, working with,  
15 you know, appreciate working with the staff on  
16 this. And I know that, you know, we have  
17 indicated in previous workshops, and I've had  
18 Commissioner McAllister, as well, that this would  
19 be part of the codes. I just wanted to, you  
20 know, ask about the status of that and next step  
21 because we didn't cover it this morning?

22           MR. FROESS: Thank you, Pierre. Yeah, we  
23 are aware of that. We just had a big enough  
24 workload to get to this point and we didn't have  
25 time to effectively work on that one, but we are

1 aware of it. Danny Tam, who is actually our  
2 water heater expert, is out on paternity leave.  
3 So when he gets back, I think that's going to be  
4 one of his tasks, is to get started working on  
5 that. But we're not ignoring it. We know it  
6 exists and we just need time to develop it.

7 MR. DELFORGE: Okay. Thank you. And can  
8 you give us an estimate of the timeline of what  
9 the, you know, what the next -- when we might see  
10 this implemented in a research version of the  
11 software?

12 MR. FROESS: That will be hard to say, to  
13 pick it. We're not sure how much time it will  
14 take to develop it and we have to work it or  
15 whatever we need to do to get that into the  
16 software. I'd say many months. But because this  
17 is an ACM, it's a living document and software --

18 MR. DELFORGE: Um-hmm.

19 MR. FROESS: -- it's not like since  
20 you're not in the software today, you never will  
21 be. It's just whenever it's ready to come in, it  
22 will go in at that point.

23 MR. DELFORGE: Okay. Thank you.

24 MR. SEVERANCE: I had a question about  
25 the -- I'm sorry. Bruce Severance, Mitsubishi



1 Electric. I apologize. I already gave my card  
2 earlier.

3 A question about buried ducts and if  
4 you're allowing buried ducts to exist without  
5 dropping them into soffits or recesses? You're  
6 still requiring insulation at the roof deck  
7 regardless. And you've eliminated Option A, so  
8 we're no longer doing above deck insulation; is  
9 that correct?

10 MR. FROESS: Well, no, it is -- yeah.  
11 Correct it's not a prescriptive requirement  
12 anymore but you can still model it if the house  
13 actually has it in a proposed design.

14 MR. SEVERANCE: Oh, okay. So you know, I  
15 guess just a couple things is that, you know,  
16 again, having seen retrofits and really looking  
17 at cost effectiveness, and I've talked to a lot  
18 of energy analysts and BPI contractors that have  
19 done this in the field, even some that have done  
20 research for CEC, and there's a sense in the  
21 community of people that I happen to have talked  
22 to that roof deck insulation is somewhat  
23 overrated, you know, that there's a lot of cost  
24 involved in putting under deck insulation and  
25 that burying ducts in an attic under like R-60 is

1 far less expensive.

2           If you look at the difference in costs  
3 between R-38 and R-60, you go out and get bids  
4 and you're looking at about a buck a square foot  
5 in most of California, economics are different in  
6 different regions a bit, but to go from R-38 to  
7 R-60 blow-in insulation where you get very little  
8 possibility of cavities if you do it right, the  
9 cost differential might be \$.25 or \$.30 a square  
10 foot, \$.45 a square foot on the outside. So you  
11 know, just cost comparison-wise the under deck  
12 insulation is fairly expensive.

13           And in retrofit situations, I've seen  
14 enormous efficiencies gained just by doing proper  
15 attic ventilation. And I'm seeing reports of a  
16 lot of failure modes with under deck blown  
17 insulation. And it seems to me that CEC might  
18 want to publish a set of recommendations because  
19 we've been experimenting with a lot of different  
20 approaches and we're seeing data in the field of,  
21 you know, roofs that aren't more than two or  
22 three years old, the OSB decking getting soggy  
23 because of blown ISOFOAM underneath that deck and  
24 the incidents of vapor drive tending to run to  
25 the ridge of the structure.

1           And so, you know, we experimented with  
2 sealed attics. And I think sealed attics are,  
3 you know, in our climate zones are not  
4 necessarily a good idea, most of them at least.  
5 I mean, Climate Zone 16 might be an exception.  
6 So just because there's been a lot of  
7 experimentation with these things, I think it's  
8 really important that we look at the hard data  
9 and that, again, we're making recommendations to  
10 builders that are maximizing cost effectiveness  
11 relative to the efficiencies that we're gaining.

12           And you know, the anecdotal evidence,  
13 I've just seen houses that were super overheating  
14 by three o'clock in the afternoon in 100 degree  
15 weather. And when you deeply bury ducts and air  
16 seal the attic plain properly the temperatures  
17 are 75 degrees at three o'clock in the afternoon  
18 and the air conditioner hasn't even turned on  
19 yet. So you know, in old structures, I've seen  
20 that work. I have to assume it works in new  
21 structures, as well.

22           So I would just ask that we're  
23 substantiating those kinds of mandatory measure  
24 with real-world data and cost tradeoff analysis,  
25 so we're really looking at what it costs in the

1 field to do these things. We're not forcing  
2 builders to spend an extra \$1,000 unnecessarily.

3           And the third point that I would say is  
4 just that service ability is key. If we're going  
5 to bury ducts in the attic there should be a  
6 standard for hanging pink flags from the ceiling  
7 in the attic, which has been a standard procedure  
8 for many of the contractors that I know, and many  
9 don't do this. So -- and having access  
10 gangplanks in the attic is something that adds  
11 about \$200 in cost to a job in general. It's  
12 very easy to do. So serviceability.

13           And if we're going to put ducts in  
14 conditioned space, I feel very strongly we  
15 shouldn't be burying flex ducts in floor  
16 assemblies. We should be doing hard metal  
17 ducting in-floor assemblies with mastic and  
18 building that so it lasts. I've just been in too  
19 many houses that are 25, 30 years old and the  
20 duct leakage is crazy. And you have to remove  
21 the ceiling in ten rooms. And people live there  
22 and they just say, no, we're just not going to do  
23 that. And you know, the duct leakage is 40  
24 percent and there's nothing you can do about it.

25           So serviceability to me is very, very

1 important. And we should be building stuff with  
2 those kinds of eventual failure modes in mind.  
3 You know, even with, you know, two percent duct  
4 leakage on flex duct today, we can imagine over  
5 time that that's going to degrade and 30, 40  
6 years down the road we're going to have to get to  
7 it.

8           So I would ask that your procedures take  
9 all those things into consideration. Thank you.

10           MR. FROESS: Thank you. And I'm not sure  
11 that this is the workshop to address that.  
12 That's more of like a standards development  
13 issue.

14           MR. SEVERANCE: Well --

15           MR. FROESS: The software just takes the  
16 standards that were adopted and puts them into  
17 the software. So everything that you're  
18 mentioning can be modeled but it doesn't take  
19 into account the concerns you're talking about.

20           MR. SEVERANCE: Well, I guess what I'm --  
21 I'm saying is that there's, you know, certain  
22 assumptions that are being made in the modeling  
23 that, you know, these things are the most cost  
24 effective. And I question that they are the most  
25 cost effective just because I've had experience

1 in the field that contradicts that, and I've  
2 spoken to other people that feel the same way.

3           So my sense is that whatever we're  
4 requiring as a mandatory measure in the modeling,  
5 that the CEC should be vetting that application  
6 or that measure, looking at cost tradeoff data,  
7 maybe, you know, talking to a builder or a  
8 consultant that does a lot of estimating that can  
9 really evaluate the bang for your buck that  
10 you're getting by requiring under deck  
11 insulation, for example, you know?

12           MR. FROESS: Again, this isn't the venue  
13 for that. That's a standards development.

14           MR. SEVERANCE: Okay. Well,  
15 nevertheless, you know, I just thank you very  
16 much for requiring HERS rating and not doing  
17 sampling on, you know, tract houses. I just, I'm  
18 very happy to see you roll around to that and  
19 I've seen --

20           MR. FROESS: Definitely for that one  
21 verification. There's still -- sampling is  
22 allowed, just for that one specific verification  
23 that is not allowed to be sampled.

24           MR. SEVERANCE: Yeah. Well, that's a  
25 step in the right direction. Yeah.

1 MR. FROESS: Thank you, Bruce.

2 MR. STRAIT: So this is Peter Strait.  
3 I'm the Supervisor of the Standards Development  
4 Unit.

5 I just wanted you to -- I wanted to  
6 invite you to participate in the upcoming 2022  
7 code cycle. That will be where we actually go  
8 under the hood for changes to the code itself and  
9 that's where all the cost effective analysis is  
10 found. So for our prior rulemakings, you can go  
11 online and find where all the cost analysis  
12 behind all of the measures in Part 6 resides.  
13 And if there are further improvements to make to  
14 those, then that would be the forum for it.

15 We are just now starting to have a  
16 conversation with stakeholders about the code  
17 change proposals we'll likely be submitting in  
18 the -- for the next iteration of the code. So if  
19 you're not already signed up for our mailing  
20 list, please do so. And otherwise, that would be  
21 the forum for raising some of those concerns.

22 MR. SHIRAKH: Mazi Shirakh, Energy  
23 Commission.

24 Just to add a little bit to that, the  
25 software hasn't -- doesn't consider cost. And

1 our job in the software is to provide the proper  
2 tradeoff algorithms. So you know, you can just  
3 as easily model ducts and conditioned space,  
4 below deck insulation, above deck roof  
5 insulation, or buried ducts. And I think, you  
6 know, we've done a good job of capturing the  
7 savings. The choice of which option to go with  
8 is really the builders and that's where the cost  
9 implications come in and other aspects of  
10 different choices. But you know, as far as we  
11 know the software actually calculates the correct  
12 savings for each of those measures. And so if  
13 there's a problem with that, we'd like to know.

14 But you know, the cost is not part of  
15 this. The prescriptive path was developed using,  
16 you know, the below deck roof insulation. That  
17 was determined to be cost effective, maybe not  
18 the most cost effective but it is cost effective.  
19 And if there are other options that captures the  
20 savings at a lower cost, the builders will go for  
21 that.

22 Thank you.

23 MR. HODGSON: Mike Hodgson, ConSol,  
24 representing CBIA.

25 Bruce, where are you? There you are.



1 I'm really interested in your comments because we  
2 have been looking at the difficulties of  
3 installing high-performance attics for the last  
4 three to six years. And there have been a  
5 variety of research projects and investor owned  
6 utilities sponsored projects where I would guess  
7 there were over 20 installations of high-  
8 performance attics and we do not have  
9 documentation of moisture issues.

10           So if you have data on new construction,  
11 production home building that shows that, we  
12 would love to see it because that's the last  
13 thing we want to happen in our subdivisions. So  
14 we invite you to share not only with the building  
15 industry, but also with the Energy Commission if  
16 there are significant problems with moisture. We  
17 don't know about them. We have been trying to  
18 find those out and that is one of our Achilles  
19 Heels. We're very concerned about it. So look  
20 forward to talking to you.

21           MS. CHOWDHARY: Hi. This is Meghna from  
22 SolarEdge. I had a question in regards to PV and  
23 shading.

24           So currently, more than 80 percent of the  
25 res EPV market is dominated by power optimizers

1 and micro importers. And since these systems,  
2 with these technology we're able to track the  
3 maximum power point per module. The effects of  
4 shading on the overall system production are a  
5 lot less compared to other technologies.

6           So, so far I didn't notice if the  
7 software takes into account such technologies.  
8 And I recommend that we add that to the software  
9 so we can simulate the PV system production  
10 better.

11           Thank you.

12           MR. WILCOX: Hello. This is Bruce  
13 Wilcox. We recently added power optimizers, et  
14 cetera, as an option in the detailed inputs for  
15 the PV systems. So it wasn't shown on the slides  
16 but it is actually there. So please take a look  
17 at that and tell us whether we did it right.

18           MS. CHOWDHARY: That's great. Thank you.

19           MR. CAIN: Joe Cain with SEIA. I know  
20 that we -- that kind of jumped -- that topic  
21 jumped back a little bit. But can I ask in terms  
22 of what we can expect for Appendix C to the ACM  
23 Reference Manual, is that still to be expanded or  
24 where are we with Appendix C?

25           And in terms of detailed algorithms or

1 where we can go and look to see what the software  
2 is actually doing, as Ken would say, under the  
3 hood, will that be in changes to appendix -- what  
4 used to be Appendix E and is now Appendix F?  
5 Would anything appear in there or is all of this  
6 related to PV and batteries going to be detailed  
7 in Appendix C, including methodology and  
8 algorithms to support all of the -- what we've  
9 seen.

10 MR. FROESS: Good question.

11 MR. CAIN: Okay. I'll leave that as a  
12 good question.

13 MR. FROESS: Yeah. Thank you. Yeah.

14 It looks like that's all that's in the  
15 room, I guess. Are there any online?

16 MR. WILCHERT: Yeah. Geoffrey, I'm going  
17 to try to un-mute you. And if this doesn't work,  
18 I can read your question. Go ahead.

19 MR. YAMASAKI: Can you hear me?

20 MR. WILCHERT: Yeah.

21 MR. YAMASAKI: Okay. So I'm just  
22 wondering, multifamily (indiscernible)  
23 residential standard framed walls that have  
24 combined the wood and metal (indiscernible). I  
25 was wondering if there was a reason for that, you

1 know, from looking at using non-framed walls for  
2 (indiscernible).

3 MR. FROESS: I have to interrupt. We're  
4 having a hard time hearing you. Can you speak  
5 up?

6 (Colloquy)

7 MR. FROESS: Can you start over?

8 MR. YAMASAKI: Sure. My question was  
9 about the prescriptive wall assembly  
10 requirements. The wood and metal framed category  
11 is now combined to just framed walls,  
12 residential. Is there a reason for that?

13 MS. ROSS: Metal frame can be modeled.  
14 The standard design is wood framed. And  
15 anything, those in my slides on the envelope,  
16 that was wood framed walls. But you can still  
17 model metal framed walls, yet they still have to  
18 meet the mandatory requirement.

19 MR. YAMASAKI: Right. My question was  
20 just why the framed wall category is now one  
21 instead of separating wood and metal framing as  
22 their own categories? Because when you use metal  
23 framing for multifamily projects and you're  
24 comparing to the wood frames, it's just tougher  
25 to meet that requirement. It seems like, you

1 know, metal frames for residential is difficult  
2 to comply with. I was wondering if there was  
3 history behind that, other than single-families  
4 don't user metal framing.

5 MR. WILCOX: Well, this is Bruce Wilcox.  
6 I understand your question is why isn't the  
7 standard design in multifamily buildings a metal  
8 framed wall? Is that what you're saying?

9 MR. YAMASAKI: Yeah. Or why doesn't  
10 that -- isn't that an option, right, as a  
11 separate option before the metal framing and wood  
12 framing, but now they're grouped together.

13 MR. WILCOX: I mean, that's simply a  
14 policy question that the Commission has to decide  
15 about how to do the standard design. And  
16 currently, it's always wood frame in the standard  
17 design.

18 MS. ROSS: The standard design table  
19 refers to a U-factor. So that -- the stand  
20 design is that U-factor. It's typically, I think  
21 it was 0.51. How you meet that is up to you. I  
22 mean, well, I mean, you can exceed it, but you  
23 have to -- you get a penalty.

24 MR. YAMASAKI: Right. And that penalty  
25 didn't exist in the previous code, so I was just

1 wondering if there was a history behind --

2 MS. ROSS: This --

3 MR. YAMASAKI: -- that change?

4 MS. ROSS: -- it did exist. The standard  
5 design has always been a wood framed wall and the  
6 U-factor in Table 150.1(a).

7 MR. YAMASAKI: Okay.

8 MS. ROSS: 150.1(b) is new.

9 MR. YAMASAKI: Okay.

10 MR. FROESS: Cathy, we're going to go to  
11 y0uo. Your un-muted now.

12 MS. CHAPPELL: Hi. Cathy Chappell.

13 MR. WILCHERT: Hi. Go ahead.

14 MS. CHAPPELL: Hi. My comment was just  
15 that I couldn't hear that previous speaker, but  
16 Larry clarified that. Thank you.

17

18 MR. WILCHERT: Oh. Sorry.

19 MR. FROESS: Okay. That sounds like  
20 that's all the questions we had for those.

21 So as we stated, we're not going to do a  
22 lunch break. We're just going to continue on  
23 with the last session on here. And the next  
24 presenter will be Todd Ferris, who is the  
25 Supervisor of the Software Tools Unit.

1           MR. FERRIS: Hello everybody. I'm Todd  
2 Ferris with the Software Tools Unit. I'm going  
3 to talk to you about some of the changes to the  
4 HERS field verification.

5           So for 2019, we have changes to the CFM  
6 requirement for single-dwelling unit ventilation.  
7 Basically, we've a line to the new ASHRAE 622.  
8 There's also an additional testing protocol for a  
9 supply exhaust balance system. Big changes in  
10 multifamily. If you're installing a supply or  
11 exhaust unbalanced system a new envelope  
12 tightness verification is required in order to  
13 use that type of exhaust or supply system.

14           Kitchen range hoods for 2019 are having  
15 a -- they're not a performance verification but  
16 they are a rated verification. So expectation  
17 would be that the installed device would be  
18 compared against its rating from HVI to verify  
19 that it meets, for instance, for the traditional  
20 fans, 100 CFM and 0.3 zones or three zones, I'm  
21 sorry. We're verifying heat pump efficiency. In  
22 past code when you specified a higher HSPF, there  
23 was no verification, even though we were  
24 requiring it for air conditioners when they had a  
25 higher SEER or NEER. We fixed that for 2019.

1           We're also verifying the output of the  
2 heat pump. You can, as kind of Pat was referring  
3 to with the heat recovery ventilators, you can  
4 game the system. We were finding that people  
5 were gaming the system by putting in very large  
6 heating outputs for their heat pumps that weren't  
7 either logical or realistic to get extra  
8 compliance credit. So now there's an expectation  
9 that was modeled in the Title 24 should be  
10 installed in the field.

11           Too many moving parts.

12           Larry touched on it before, so in 2016  
13 there was really no compliance pathway for small  
14 duct high velocity. And so they, to meet the  
15 airflow requirements, they basically were forced  
16 to use the prescriptive return air and return air  
17 grill and duct sizing. We fixed that for 2019.  
18 Now there's a special consideration for their  
19 lower CFM per ton. And as Larry touched on, for  
20 single zone or for zone way controlled single-  
21 speed systems, we're proposing that they not be  
22 allowed to use group sampling and they would be  
23 then 100 percent tested.

24           This is not a new -- the verified air  
25 handling fan efficacy is not a new HERS measure,



1 they just have new targets. So the small duct  
2 high velocities have a 0.6 -- 0.62, less than or  
3 equal to 0.62. Gas furnaces have been reduced to  
4 0.45. And I forgot to put it on here, the heat  
5 pumps are 0.58 like they've always been.

6 Full house fans, it was our intent to  
7 actually require HERS testing on all whole house  
8 fans but cost effective analysis wasn't --  
9 wouldn't allow that. So basically, what we've  
10 done is added an extra credit if you HERS verify  
11 the whole house fan performance. Our hope was to  
12 get builders to move in that direction for that  
13 extra credit for operating.

14 Central fan ventilation cooling, again,  
15 another area where the original intent was that  
16 they were to be HERS verified and we got that  
17 into it.

18 QII, not a new HERS verification. What's  
19 new is that your standard house has QII, so we  
20 would expect most houses will be doing QIIs  
21 because it's a very hard thing to trade off.

22 And then for the compact design, if you  
23 do the enhanced -- if you do -- if you take  
24 credit for the enhanced system at CBECC, there  
25 will be an expectation for HERS verification

1 design.

2           And the last one, I think, drain water  
3 heat recovery, if you decide to take that -- if  
4 the designers decide that in their systems, there  
5 will be a HERS verification requirement to make  
6 sure that device is installed.

7           The last part is basically related to the  
8 output of CBECC. So the output report that's  
9 currently being used from CBECC is not optimized  
10 of the HERS providers. There's a lot of data in  
11 that report that is not necessary. It wasn't  
12 based on our standard data dictionary so it  
13 required the HERS providers to translate a lot of  
14 the values that were in that report and it  
15 basically caused them headache and the CEC a lot  
16 of maintenance costs.

17           So 2015, we talked to the HERS providers  
18 and said that we'd like to come up with a new  
19 format for the report, have it be schema  
20 controlled which would -- it was recommended that  
21 we go in that direction so that we validated the  
22 parent data piece that would be put into a  
23 repository. And -- but we all decided it would  
24 really disrupt the industry if we changed  
25 midcycle. So for 2019, we'll have a new format

1 for what was called the Analysis-Results BEES  
2 that will be based on the standard data  
3 dictionary, 100 percent focused on the HERS data  
4 points that they need. And it should actually  
5 provide us the ability to have a better product.

6           Many of you who are in the working side  
7 of the industry dealt with versions of CBECC  
8 that, you know, we released a new version and all  
9 of a sudden one of the reporting flags for HERS  
10 wasn't working. This gives us -- because the new  
11 output is schema controlled, we can double check  
12 all that before we release software without  
13 looking through pages of XML code.

14           One of the things that I'm interested to  
15 know from industry is we can change the name of  
16 this. The current alpha version uses the project  
17 name dash CF1RPRF01E, X and L. We can go back  
18 to the original AnalysisResults BEES if industry  
19 thinks that better. We can come up with a name,  
20 you know, HERS upload report, I don't know. So  
21 you know, if you guys can give me your two cents,  
22 at this point we're at a stage where we can call  
23 it anything we want.

24           That's it.

25           MR. FROESS: Thank you, Todd.

1           So this is the last slide here. I just  
2 want to go over a couple miscellaneous items  
3 about the software.

4           With the PV requirements and target --  
5 the target EDR finder, the runtimes would be  
6 improved -- or increased, I'm sorry.

7           I ran this on my computer and I was  
8 pointing out that it must be pretty slow, which  
9 is probably the case, but I ran the 2,100 square  
10 foot prototype for Climate Zone 12. And just by  
11 doing the standard compliance run with the  
12 standard PV scaling without the target EDR,  
13 there's a 48-second run start to finish. When I  
14 do the target EDR score of 20, that initiates  
15 several more runs as the software tries to do  
16 some iterations to narrow down what it takes to  
17 hit 20, so that increased the runtime to a minute  
18 and 33 seconds. When I set the EDR target to  
19 zero, it needed to do one or two more iteration  
20 runs to get it to that mark, so that was 2  
21 minutes and 15 seconds.

22           So the point of this is just to let the  
23 consultants know and energy modelers know that  
24 runtimes could be increased. But I always want  
25 to point out, too, that the target EDR is not a

1 requirement, that's just a benefit to the  
2 modeler. But just be aware that these new  
3 features would increase runtimes and just to  
4 account for that in your workflow.

5           The existing, post-addition and  
6 alteration of feature is not fully functional in  
7 this alpha version at the moment. We were  
8 focused on getting the single-family and  
9 multifamily operational, so -- but this will be  
10 fixed in the future release in the next couple  
11 months. And as Bruce pointed out, the reporting  
12 of a CF1R, the .pdf report is not accurate for  
13 what it reports, as well. That will be completed  
14 at the final version that we present for the  
15 Energy Commission for approval.

16           Which leads me to this slide. This is  
17 our timeline. Currently, we have the alpha  
18 release out which is available for the public and  
19 that was released in January of 2019. Our next  
20 release will be what we call the release  
21 candidate and that will be released before the  
22 Energy Commission business meeting, several weeks  
23 before the business meeting. So that, again,  
24 will be similar to how we just did this release  
25 here but we won't have a workshop, so it's

1 available for the public to review and comment  
2 on. And then we present it to the Energy  
3 Commission's business meeting in May to present  
4 it for approval.

5           And then if it is approved it will become  
6 certified. It will be called the 2019 1.0  
7 software. At that point the existing plus  
8 addition an alterations will be fixed, and the  
9 CF1R reporting and, hopefully, Todd's XML  
10 reporting file will be working, as well.

11           So that's the end of our workshop. We'll  
12 have -- we'll do -- yeah, we will, we'll have one  
13 more -- yeah, there it is. So I just wanted to  
14 point out before the comments that we strongly  
15 encourage written comments to be filed by March  
16 1st, the sooner the better because the later it  
17 gets past March the lower the priority that may  
18 become, so try to get it to us as fast as  
19 possible. And here's the information to do it  
20 with the dockets and the hyperlinks. And, sorry,  
21 Pat.

22           And so now we are open to any further  
23 questions about anything that we presented today.

24           MR. SPLITT: Pat Splitt from App-Tech.  
25 You know, I haven't been here for a while, so

1 I've got a bunch of comments saved up.

2           Just two things. One has to do with  
3 water heating and -- water heating and small  
4 storage tanks. If I did a tankless water heater,  
5 I am not sure about this, but sometimes I have to  
6 model at least one gallon of storage or it won't  
7 run or other times I can model that. And I was  
8 always under the impression that that means, if  
9 you model any storage there, that's a volume of  
10 water that's constantly maintained at a certain  
11 temperature, not just a tank that water goes  
12 through. So it doesn't always seem to work the  
13 way I think it should.

14           But lately there have been a lot of  
15 direct vent, not a lot but some direct vent  
16 tankless water heater that have a tank in them  
17 and they're used for different things. There's  
18 one from Navien that you can actually program to  
19 do different things. It has a pump in it. You  
20 can program it to be an on-demand research system  
21 which is good, but you can also program it to  
22 constantly keep that little tank of water inside  
23 there hot. So is that still a tankless water  
24 system with a tank in it? Is there some special  
25 qualification there? I don't know.

1           But also on the other side of that, since  
2 it's federally regulated and there's already  
3 efficiency for it, could the Commission even do  
4 anything about that tank being in there?

5           So there's some more hybrid water heating  
6 systems coming out now that I'm not sure fit into  
7 the software right now, so that was that comment.

8           MR. WILCOX: I think that little tank  
9 that's in there is an input was because of those  
10 hybrid systems two cycles ago when they first  
11 started bringing in the tankless gas water  
12 heaters. This, I think, intended in the CBECC  
13 software to add an extra loss component.

14          MR. SPLITT: But I shouldn't get  
15 penalized for loss of it if it really isn't  
16 constantly maintaining the water temperature.

17          MR. WILCOX: Well, what is it doing?

18          MR. SPLITT: It just heats the water when  
19 the -- when there's a demand and then the burner  
20 turns off. There's some water stored inside the  
21 unit but it just cools off. It's not being  
22 constantly heated.

23          MR. WILCOX: Right. Okay. Well, so,  
24 yeah, maybe you should send us the ones that you  
25 don't think are working right and we can look at



1 it because if you put a tank in there, it's going  
2 to get maintained, I believe.

3 MR. SPLITT: Right, but can you model it  
4 because it's in this federally regulated thing.  
5 Can you penalize -- you know, I'm saying if it  
6 was outside, you could do that. But can you  
7 actually do some special penalty because --

8 MS. ROSS: Isn't that a mini tank?  
9 Although, you use EnergyPro. But in CBECC,  
10 there's a mini tank.

11 MR. WILCOX: Yeah. This is a very  
12 complicated subject, so why don't you give us  
13 some examples.

14 MR. SPLITT: Okay. And the other comment  
15 is something I mentioned before but, can I say,  
16 running into a lot of problems with things just  
17 aren't checked in the field. And I mentioned  
18 this before and I'll mention it again, I think  
19 that, especially since the scope of the HERS  
20 raters' work is being expanded, they had QII,  
21 there's more things, they're always going to be  
22 out on these projects anyway. Why not just make  
23 them an Energy Special Inspector and let them be  
24 responsible for all the energy checking, not just  
25 the HERS measures, and just give them a form

1 that, once they've decided everything is right,  
2 they give it to the building official and they're  
3 happy. Things have been met, they didn't have to  
4 go out there and scrutinize things that they  
5 don't think are important because they're not  
6 health and safety, I think it would be a great  
7 idea.

8 MR. FROESS: Thank you, Pat.

9 Any other in-person questions or  
10 comments?

11 MR. WILCHERT: Eric, I'm going to un-mute  
12 you now.

13 MR. FROESS: We've got one more RJ.

14 MR. WILCHERT: Okay. We have more in  
15 person. Okay. We'll go ahead.

16 Eric, I'll un-mute you now. Go ahead and  
17 state your name and affiliation.

18 MR. ADAIR: Hi. My name is Eric Adair.  
19 I'm currently working on behalf of the Hearth,  
20 Patio and Barbecue Association. I have a comment  
21 and I have a couple of questions that kind of go  
22 with it.

23 The HPBA believes the hearths, stoves,  
24 fireplaces, and similar appliances provide an  
25 energy benefit when used as a zone heater in a

1 home. This effect, in turn, is compounded when  
2 combined with the new energy efficiency envelope  
3 requirements coming up in the code. Hearth  
4 appliances are typically installed in high  
5 occupancy rooms where the heating demand is the  
6 greatest, family rooms, great rooms and the like.  
7 And their use can take the energy burden off of  
8 the central heater, so we believe there's a net  
9 benefit here for everybody, all parties involved.  
10 This leads into a couple of my questions.

11           Zone heating; right now, to the best of  
12 my understanding, and I really admit I could be  
13 mistaken on this, but to the best of my  
14 understanding zone heaters cannot be currently  
15 modeled in the CBECC software as a subzone of a  
16 central furnace. You can make them a separate  
17 zone but not a zone within the zone that it's  
18 already serving. I believe it's essentially  
19 ignored if it's modeled that way. And this is  
20 exactly what is typically installed in an actual  
21 home.

22           Can creating a subzone be included in the  
23 CBECC software to better model the energy  
24 efficiency and use the hearth appliances? That's  
25 question one.

1           Question two is tied closely to it. The  
2 zone heating credit, we have the living versus  
3 sleeping zones currently allowed in the CBECC  
4 software. What we would like to have is a better  
5 understanding of the calculations that go into  
6 the zone heating credit. Is the algorithm or the  
7 calculation details available somewhere and can  
8 we look at that? Currently, there's only a  
9 checkbox in the CBECC software. And the results  
10 output on this seems to be fairly minimal, which  
11 is the reason why we'd like to take a closer look  
12 at it. Because in practice we seem to see much  
13 greater energy savings in real use but the  
14 software is not modeling it that way, and I  
15 just -- we're trying to resolve the two.

16           Lastly, radiant heat, fireplaces and  
17 hearth stoves provide significant measure of  
18 radiant heat, that nice sensible heat you feel.  
19 Currently, CBECC software does not factor in  
20 radiant heat into its calculations. Can this be  
21 applied so we can better reflect the energy  
22 efficiency and the energy provided from hearths,  
23 appliances, and similar applications -- or  
24 appliances?

25           That's what I've got.

1           MR. WILCOX: Bruce Wilcox. Not in the  
2 order you asked the questions.

3           The ACM Manual documents, the thermostat  
4 subpoints that are used for the heating and  
5 zoning credit. And so I think you could find  
6 that.

7           I'm not sure I completely understood your  
8 first question. I think you were talking about  
9 putting multiple heating systems in the same  
10 zone. And the way the ACM rules are written the  
11 software assumes that the load is being met by  
12 the system that has the worst performance. This  
13 has been a rule for 40 years probably. So you  
14 know, that limits the kind of tradeoffs that you  
15 were talking about. I mean, that potentially  
16 could be introduced as a new measure that the  
17 Commission could look at in the future but I  
18 don't think that's possible under the current  
19 rules. And it's not implemented in the current  
20 software.

21           MR. ADAIR: Okay.

22           MR. WILCOX: Radiant heat, so we don't  
23 have any special modeling for radiant heat. The  
24 models include radiant effects and they were  
25 written in a very detailed way but we don't have

1 any special radiant thermostats or any of that  
2 for either heating or cooling. And I think in  
3 most buildings that are insulated, as well as  
4 we're requiring for stuff for new buildings --  
5 stuff -- new buildings in California, as far as I  
6 know the evidence is that there's not a big  
7 difference between things that are controlled  
8 radiantly or not. If, you know, if there's some  
9 evidence that that's not true, then we'd be  
10 interested in -- for you to present it. But I  
11 don't know, I mean, just offhand.

12 MR. ADAIR: Okay.

13 MR. FROESS: That's all the online  
14 questions. If there's no -- oh.

15 Bruce, you had one more inside here?

16 MR. SEVERANCE: Okay. There. Okay.  
17 Sorry. Bruce Severance, Mitsubishi Electric.

18 In the past code cycle, radiant in-slab  
19 systems have not been required to have full under  
20 slab insulation. I think even in Climate Zone 16,  
21 you are required to have stem wall insulation and  
22 four feet from the stem wall, horizontal  
23 insulation. And yet those types of radiant  
24 systems were given ducts in conditioned space  
25 credit, if I'm not mistaken.

1           And I was wondering, you know, I ran my  
2 own heat load calcs on this just by hand and came  
3 up with heat loss to ground that resembles, you  
4 know, like R-6 insulation in attics that are  
5 unconditioned. And I just don't understand how  
6 the math works out to give radiant systems this  
7 credit, you know, a compliance credit boost which  
8 is very significant. And I just don't understand  
9 how that math could possibly work out to have  
10 that be advantageous from an energy standpoint.  
11 Certainly, it precludes in-slab radiant from  
12 really ever going to an electric source.

13           And if the state is really looking at,  
14 you know, trying to eventually, you know,  
15 electrify, as so many people that are looking at  
16 SB 100 compliance and how we eventually get  
17 there, it seems that under slab insulation  
18 should -- it's not even a modeling option right  
19 now in CBECC. You're not -- there's no button  
20 that allows you to do full slab insulation of  
21 different thicknesses. And it's not modeled.  
22 And I just, I know from passive house design that  
23 this has been a big factor in how homes perform.  
24 And you know, in a passive house scenario it's  
25 very unfavorable to put in-slab radiant at all

1 because you're precluding that from having a  
2 delta t that would allow that to absorb excess  
3 heat and rerelease it as needed. So it actually  
4 prevents the passive house features from working  
5 to put in-slab radiant in. And I don't see that  
6 discussed anywhere.

7           So the reason that's relevant to, you  
8 know, air source heat pumps is that for the --  
9 you know, up until now we have not enjoyed any  
10 duct in conditioned space credit and yet were,  
11 you know, ductless heat pumps are ductless, so it  
12 doesn't really -- you know, it's kind of  
13 extremely difficult from our perspective to  
14 understand why those kinds of tilts in the  
15 playing field would even be built into the  
16 software. You know, I guess I would love an  
17 explanation.

18           I heard one CEA theorize that, well, the  
19 ground probably heats up and there's this cushion  
20 of hot earth underneath the house, and so it only  
21 loses so many BTUs and then that loss tapers off.  
22 I've never heard of any data collected on that.  
23 I mean, that was just somebody throwing out a  
24 theory.

25           Has there been any data collected on



1 this?

2 MR. WILCOX: This is Bruce Wilcox.  
3 Modeling slab losses and ground losses is a  
4 complicated subject. And there's a long history  
5 of these systems in California and I think kind  
6 of the approach we have on software is what's  
7 been being done for 20-plus years. There has not  
8 been a move to change that. We've been recently  
9 doing work on improving the models in CBECC-Res  
10 to handle ground losses better but that hasn't  
11 made it into the compliance versions yet. That's  
12 on our list of things to do. And also, we put  
13 under slab insulation as part of that.

14 MR. SEVERANCE: Yeah.

15 MR. WILCOX: And so we're going to move  
16 forward on that. It's -- you know, if there's a  
17 general groundswell of opinion that we should do  
18 that sooner rather than later, that wouldn't hurt  
19 getting it done. But we are also --

20 MR. SEVERANCE: So will everybody in the  
21 room write a letter today or --

22 MR. WILCOX: Well, you know, I'm sure Pat  
23 Splitt could get up and argue with you if you  
24 wanted him to do that.

25 MR. SPLITT: We probably argued over that

1 last week.

2 MR. WILCOX: Not here though.

3 MR. SEVERANCE: Well, I guess, you know,  
4 one way to solve that would be to just require  
5 under slab insulation and, you know, minimum R-10  
6 if you're going to do --

7 MR. WILCOX: So this is --

8 MR. SEVERANCE: -- in-slab radiant, you  
9 know?

10 MR. WILCOX: Bruce, you would could with  
11 the case teams and make this a proposal for the  
12 2022 standards.

13 MR. SEVERANCE: Yeah. Okay. I will.

14 MR. WILCOX: I imagine they've considered  
15 this --

16 MR. SEVERANCE: Yeah.

17 MR. WILCOX: -- in the past.

18 MR. SEVERANCE: Well, it would, you know,  
19 it would just be wonderfully helpful if CBECC was  
20 capable of modeling full slab insulation.

21 MR. WILCOX: Yeah. Agreed.

22 MR. SEVERANCE: You know, it would be  
23 wonderful if it was able to model that. This is  
24 kind of a wildcard variable in my mind and it's  
25 one that puts radiant -- it gives radiant a

1 compliance credit that's completely out of scale  
2 with what's been done to ductless systems  
3 historically. So just appreciate your  
4 consideration on that.

5 MR. FROESS: Thank you. Okay, I think  
6 that's it. I just wanted to thank everybody for  
7 attending today. Your comments and questions are  
8 very useful to us to help determine, you know,  
9 what the public is thinking.

10 So this is the finale. I'd like to thank  
11 everyone for spending their Valentine's Day with  
12 us here. We'll have transcripts available in a  
13 couple weeks, I believe. And we will be posting  
14 our presentations maybe by tomorrow, or I'll just  
15 say a couple days.

16 So thank you very much and drive safely  
17 on this nice rainy day.

18 (The workshop adjourned at 12:24 p.m.)


19  
20  
21  
22  
23  
24  
25

**REPORTER' S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of March, 2019.



Susan Palmer  
Certified  
Reporter  
CERT 00124

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of March, 2019.



---

Myra Severtson  
Certified Transcriber  
AAERT No. CET\*\*D-852