

**DOCKETED**

<b>Docket Number:</b>	19-BSTD-03
<b>Project Title:</b>	2022 Energy Code Pre-Rulemaking
<b>TN #:</b>	230736
<b>Document Title:</b>	Transcript of 10-17-2019 Lead Commissioner Workshop
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	11/15/2019 11:23:35 AM
<b>Docketed Date:</b>	11/15/2019

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BEFORE THE ENERGY RESOURCES CONSERVATION  
AND DEVELOPMENT COMMISSION OF  
THE STATE OF CALIFORNIA

In the Matter of: )  
2022 Energy Code Pre-Rulemaking ) Docket No.  
19-BSTD-03 )

---

COMMITTEE CONFERENCE  
CALIFORNIA ENERGY COMMISSION  
THE WARREN-ALQUIST STATE ENERGY BUILDING  
ART ROSENFELD HEARING ROOM - FIRST FLOOR  
1516 NINTH STREET  
SACRAMENTO, CALIFORNIA 95814

THURSDAY, OCTOBER 17, 2019

9:00 a.m.

Transcribed by: Cathy Kleinbart  
eScribers, LLC  
Phoenix, Arizona

--oOo--

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

APPEARANCES

COMMISSIONERS

Andrew McCallister, Ph.D., Commissioner, Presiding Member

PRESENTERS

Mazi Shirakh, Senior Engineer

Danny Tam, Mechanical Engineer, BSO, CEC

Snuller Price, Partner at E3

Brian Conlon, Energy & Environmental Economics Consultant

QUESTIONERS

Roger Hedrick

Tedd Tiffany

George Nesbitt

Pierre Delforge

Bill Dakin

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**PROCEEDINGS**

**October 17, 2019**

**MR. SHIRAKH:** Good morning everyone.

Welcome to the first workshop for the 2022 Cycle of the Standards. We have a full day today. This is a Lead Commissioner Workshop. Commissioner McAllister is here.

And so, it's a few rules. This workshop is being webcasted and recorded. So when you come up to the podium for comments, you need to identify yourselves. Give Payam a business card. And then you can make your comments. We ask your comments to be limited to three minutes.

We will use that recording to transcribe the workshop, which will be posted on the web.

A few words, and if there's a emergency of a fire drill, which does happen from time to time in this building, we'll follow Payam; he's hard to miss -- through the front doors and we'll meet in the Roosevelt Park (indiscernible).

Restrooms are outside the door. We do have a cafeteria that has vending machines. If you want decent coffee, you need to walk a couple of blocks to level.

So with that, I'm going to ask

1 Commissioner McAllister to make some opening comments.

2 **MR. MCALLISTER:** Yeah, thanks, Mazi. I  
3 want to just thank you and Payam and the rest of the  
4 staff for putting together this workshop. The -- I see  
5 from the folks in the room, this is just a little bit  
6 (indiscernible). Hopefully, we have some participation  
7 out there on the web as well.

8 Just to reiterate and put a finer point  
9 on Mazi's comment on process -- so we do not have a  
10 court reporter today. Which means that the WebEx is  
11 our lifeline for -- for the public interface for this  
12 workshop. And we'll depend on the WebEx for the  
13 transcription and for all the participation. And so we  
14 just have to have all that buttoned up because we don't  
15 have a backup like we normally would if we have a court  
16 reporter in the room.

17 So please speak clearly. Make sure we  
18 know who you are and we have your contact information  
19 when you speak.

20 So with that, I guess, you know, this is  
21 building blocks for -- for the building code. And this  
22 is super important. So you know, the life cycle  
23 costing, we're making some changes; the TDV, we're  
24 making some changes. The greenhouse gas metrics, we're  
25 really focusing on like never before. And weather

1 files are super important. And I'm actually really  
2 interested in the perspectives of folks here on that.  
3 Including, you know, how we best represent the weather  
4 -- that we think is going to be happening in the future  
5 to understand the actual performance that we're likely  
6 to see out of our new buildings. That's a really  
7 important topic. You know, we need to anticipate where  
8 the weather's going to be because that's actually  
9 energy. That's going to dictate the energy that  
10 actually gets used in the buildings as they get  
11 constructed.

12           And I'm real excited about the GHG  
13 metrics work and the -- the sort of, two-tier, ER  
14 (phonetic) approach that we're -- that we're adopting  
15 this next cycle. It'll allow us to focus on greenhouse  
16 gas reduction more explicitly. Obviously, we can't  
17 base the energy code itself on carbon reductions  
18 directly, but I think we've figured out a way to -- to  
19 allow the marketplace to embrace carbon reductions at  
20 the same time we still use energy or energy costs --  
21 and energy costs to actually -- as the operative  
22 metrics for code compliance -- development and  
23 compliance.

24           But as we all know, you know, green --  
25 the greenhouses gases aren't the same. So we need

1 to -- we need to make sure that folks can understand  
2 the impacts on greenhouse gases as they design  
3 buildings to comply with code and go beyond code.

4 So with that, I think I'll just let the  
5 events unfold and listen along with the rest of you and  
6 with a great interest. So thank you.

7 Back to you, Molly -- Mazi.

8 **MR. SHIRAKH:** Thank you, Commissioner  
9 McAllister. So on the screen, I have the agenda for  
10 today. I'm going to have a brief presentation for  
11 introductions. Following me, is going to Danny Tam.  
12 He's going to present the 2022 weather files we're  
13 going through and what the recommendations are.

14 And then, after that, I think Snuller of  
15 E3 is going to basically present the -- the heart of  
16 the matter for today. It's the life cycle costing  
17 methodology, the natural gas and electricity, TDVs, and  
18 you know, what we're recommending for -- for this code  
19 cycle.

20 Then, after that, I will describe what  
21 the two EDR approaches that we've come up with. And  
22 this is the approach that, you know, we think we can  
23 use to move towards building decarbonization while  
24 maintaining a resilient building envelope.

25 We'll break for lunch and after we come

1 back, then Bruce Wilcox is going to show the results of  
2 his measure analysis for residential low-rise  
3 residential buildings. Following that, NORESKO, will  
4 do the same thing for non-res.

5 And then we'll have a public commentating  
6 and we'll adjourn. These times will change depending  
7 on how much public comment we'll get. And we try to  
8 get as much public comment as possible. We'll respond  
9 to some of them here and some of it, you know, we may  
10 respond later.

11 **MR. SHIRAKH:** Again, I'm Mazi Shirakh.  
12 I'm the Commission's Building Decarbonization Lead.  
13 And I work very closely with my colleagues at  
14 Christopher Meyer, Bill Pennington, Payam Bozorgchami,  
15 and Danny Tam, on all aspects of ZNE and building  
16 decarbonization.

17 A little bit of background, you know, the  
18 recently-adopted 2019 standards was the last code cycle  
19 that primarily focused on zero net energy. But for the  
20 2022 and the subsequent workshop, you know, our  
21 missions has changed. And we're going to be pursuing  
22 building decarbonization as our primary goal.

23 ZNE has actually served us well. And I  
24 have a slide, you know, to show that even though we  
25 were primarily focused on saving energy, you know, we



1 were able to achieve significant CO2 reduction. You  
2 know, the measures that were developed as a result of  
3 ZNE, such as high-performance attics, high-performance  
4 walls, better windows, renewables, and -- and some of  
5 the others, not only save energy. They also save CO2.  
6 But you know, our focus will shift in the future to  
7 make that event better.

8           So to pursue a decarbonization goal, we  
9 need to develop a new metric or metrics to align  
10 buildings with decarbonization goals without having  
11 adverse consequences. And we'll describe what these  
12 adverse consequences might be and how, you know, we  
13 attempted to resolve them.

14           The new approach must afford building  
15 decarbonization, resilient building envelope, and  
16 strong demand response signal, all at the same time.  
17 This was our biggest challenge, that third bullet. And  
18 then to come up with an approach that would do all  
19 three of them at the same time. And I think, you know,  
20 we have an approach that will achieve that.

21           We're also updating our new weather  
22 files. And changing weather files reflecting the --  
23 the planet's warming trends, having climate zones that  
24 are warmer than the existing weather files will -- will  
25 have an impact on building trade-off measures within --

1 with on -- within our software.

2           So this is just pausing for a moment and  
3 looking back and see what we've achieved over the --  
4 the past several code cycles. And again, even though  
5 ZNE was primarily aimed as reducing energy or EDR,  
6 energy design rating, of the building, it also, as  
7 shown here, reduced CO2 emissions from the home  
8 significantly.

9           So this first line, even an existing  
10 home, maybe eighteen-, nineteen-years-old, 2000-  
11 compliant building with no PV, and that house, today,  
12 emits around 6-1/2 metric tons. With the 2016  
13 standards, we brought that down to about 3.3. And  
14 again, these are for mixed-fuel homes. For -- with the  
15 2019 standards, with the prescriptive amount of PV  
16 system, 3.1, that emission dropped down to around 2.3.  
17 So we're about a third of what an existing building  
18 will do. And if we add battery storage to the standard  
19 2019 home, the emissions go down to around 2, 2.1  
20 metric tons per year.

21           But the major savings comes when we  
22 switch to all electric. And in the most aggressive  
23 case where, you know, we've got 6-kilowatt PV system,  
24 with batteries, we're almost down to zero. The  
25 prescriptive house is down to 1. So that is a major

1 reduction. What ZNE doesn't do, it does not encourage  
2 mixed-fuel homes to switch to all electric. So that's  
3 the -- that's the trick is to basically encourage these  
4 scenarios down here and have additional measures.

5 The purpose of today's workshop is to  
6 introduce the new weather files, reflecting the warming  
7 climate zones and introducing the life cycle costing  
8 methodology, including the updated natural gas and  
9 electricity TDVs, introducing the new source energy  
10 metric that, you know, we've come up with to align  
11 buildings with decarbonization goals, introduce the two  
12 EDR approach; how the two EDR approach; how is it  
13 different than the current approach and -- and its  
14 rules. And also present the simulation results to  
15 demonstrate the implications of these changes.

16 So this is basically the agenda that  
17 you've already seen and with that, I'm going to ask E3  
18 to come up -- I'm sorry, Danny Tam.

19 **MR. TAM:** Hi, I'm Danny Tam from the  
20 Building Standards Office. I'll be present --  
21 presenting the changes -- the post-changes to the 2022  
22 weather files.

23 So why are weather files important?  
24 Well, they're used for all entry calculations, both for  
25 compliance and standards development. They're also an

1 important part of TDV develop -- developments. Some  
2 history, on weather files, before 2013, they were based  
3 on observed data from 1950 to 1980. So by that time,  
4 the -- they were pretty old and this old data was  
5 calculated versus observed. Another issue, if they  
6 weren't synchronized, each location has their own  
7 typical weather month. So not entirely compatible with  
8 TDV.

9           So in 2013, we, at the time, made a giant  
10 leap as the first -- it's the first time we used  
11 satellite solar data to develop the weather files.  
12 Also we -- this is the first time we used the statewide  
13 typical months, so all the months are -- all the  
14 locations are synchronized and it's more compatible  
15 with TDV.

16           And Joe Huang, from White Box  
17 Technologies, helped us develop these original 2013  
18 files. He's a weather expert.

19           So our goals for 2022, now that we have  
20 additional eight years of weather data, we propose to  
21 incorporate the latest available data to better reflect  
22 changing climate conditions. Also some of the original  
23 data was proprietary. So we want to move to publicly  
24 available data from the NREL NSRDB database.

25           So also this whole project originated as

1 a PG&E-led project to update weather files for our new  
2 incentive program. So they're actually able to expand  
3 their work scope to support the 2022 standards. So  
4 this will be -- allow us to have better alignment with  
5 IOU programs.

6 So we used the TMY method developed by  
7 NREL for weather file selections. It's basically, a  
8 multiyear dataset is analyzed, and twelve months is  
9 selected, what's considered typical for -- for that  
10 month. Some elements of the selection includes global  
11 radiation, direct radiation, and dry bulb temperature,  
12 dew point and windspeed. For our analysis, we convert  
13 TMY from the latest twenty years, fifteen, twelve, ten,  
14 and seven. We also have data from the global climate  
15 models. There's four priority models that California  
16 has selected for policy analysis. We cannot use these  
17 directly for weather files because we don't have all  
18 the parameters, but it's useful for comparison.

19 So for 2022 stats recommending to  
20 continue to use the statewide TMY methodology, it will  
21 provide us with hourly data necessary for CBECC, and  
22 also it's compatible with TDV. We recommend using the  
23 full maximum dataset, twenty years, it's the, you know,  
24 maximum and latest amount of data. And these results,  
25 we think, are the most technically solid and most

1 resilient buildings of all the scenarios.

2           So this is an example of what changes we  
3 might be seeing. So this is a graph of the dry bulb  
4 temperature for Climate Zone 8, Fullerton. So the --  
5 the blue graph is the current weather files, that's the  
6 labels, CTZ2016. The orange is the new proposed  
7 weather files. So you can see, January, February, and  
8 December, there's not much changes. But between March  
9 and November, there's a definite increase in  
10 temperature. And when you're looking at just the  
11 cooling load, this is the cooling load for a  
12 2700-square-foot prototype.

13           So the graph on the left is Climate  
14 Zone 8, Fullerton. Climb on the -- graph on the right  
15 is Climate Zone 12, Sacramento. The green bar is the  
16 current weather files. And the rest are the cooling  
17 load from using TMY from twenty, fifteen, twelve, and  
18 seven. So in general, there is an increase in cooling  
19 load and the biggest changes is transitional climate  
20 zone, like Climate Zone 8, a pretty dramatic increase.  
21 And some increase with Sacramento, but not as much.  
22 And between the different datasets, it's pretty similar  
23 results. (Indiscernible) there's some more difference  
24 with 7.

25           And looking at the heating load, in

1 general, there's some decrease in heating load. For  
2 Fullerton, again, a bigger decrease, almost fifty  
3 percent.

4 And between the different scenarios, kind  
5 of similar, but the magnitude is actually bigger for  
6 Sacramento. The percent difference is bigger for  
7 Climate Zone 8, but the magnitude is actually bigger in  
8 Sacramento.

9 So this is a table showing all the  
10 percent difference compared to the current weather  
11 files. So I just want to point out, when you go to a  
12 really small dataset like the 7, we start to see some  
13 anomalies. For example, Climate Zone 16, using the  
14 seven-year dataset, actually started with a decrease of  
15 fifty percent in cooling load, versus increase of  
16 thirty-five percent using the twenty. You see some  
17 really dramatic increase for 2 and 7. That's because,  
18 currently, the -- these climates don't have very little  
19 cooling and just, you know, increased by a little bit,  
20 but a -- the percent is a dramatic increase in percent.

21 Looking at the heating load, general  
22 decrease in heating loads for all scenarios, for all 16  
23 climate zones.

24 So we mentioned, we did some comparisons  
25 to the global climate model. Like we mentioned before,

1 we cannot do a direct comparison, but we can compare it  
2 to maximum temperature.

3           So this is the graph of the distribution  
4 of all the data points in that dataset. So let me  
5 explain. It's a box and whisker graph, so this  
6 represents all the data for January. So the box  
7 represents fifty percent of the data, and the bar  
8 inside is the medium. And the whiskers is the other  
9 fifty percent, which represents the highest and lowest  
10 daily maximum temperature. So this particular graph is  
11 the daily temperature maximum.

12           So let's focus on the two bars on the  
13 left and right, the blue bar and the red bar. So the  
14 blue bars are all the data from -- observed data from  
15 2000 to 2017. And the red is from the four climate  
16 models. So as we can see, in general, the box is  
17 moving higher. The blue and the red is -- the global  
18 climate model is, you know, is -- the trend is getting  
19 warmer. Additionally, the whiskers, the more extremes  
20 are getting more extremes.

21           Okay. So now let's move to the middle  
22 two. These are the typical weather months that was  
23 picked. And this one is picked for January. So  
24 they're the months that's picked from the larger  
25 observed dataset. That's why it's -- it's smaller. So



1 the orange is the current weather files and the green  
2 is the proposed weather files. So what we're seeing  
3 the new weather files, it's trending warmer. It's --  
4 it's in line with what the global climate model is  
5 predicting.

6 So this graph is the daily temperature  
7 maximum for Fullerton. This one is minimum  
8 temperature. Same thing for Fullerton. Again, it's --  
9 it's the same trend. It's getting warmer and the  
10 temperature is more extremes.

11 So based on this, the weather file that  
12 we evaluated, it indicates that it's becoming more  
13 important for the standard to encourage building that's  
14 more resilient, not only for higher average  
15 temperature, but resilient against the extreme hot and  
16 the extreme cold.

17 So in summary, in all scenarios, the  
18 average temperature is getting warmer. Cooling load is  
19 going up and heating load is going down. Less changes,  
20 so climate zone that's already hot and cold, for  
21 example, their cooling load didn't change that much.  
22 The biggest change is transitional climate zone, like  
23 Climate Zone 8, and staff recommend the full-twenty  
24 sets of data because it's the most technically solid,  
25 resulting in the most resilient buildings. And it

1 would avoid introducing data anomalies that we  
2 mentioned before from using a small dataset.

3 With that, I just want to thank Joe Huang  
4 and Bruce Wilcox and his team, who did most of the  
5 grunt work. And PG&E for funding this project.

6 So now, we're opening the floor for  
7 questions.

8 **MR. STRAIT:** Just to start things off,  
9 there are two questions that we received while the  
10 presentation was going on. The first was from Mike  
11 Moore (phonetic), who asks, what format will the  
12 weather files be in, and can they be used with  
13 ENERGY/PLUS simulations?

14 **MR. TAM:** The thing is TMY 3 -- Joe  
15 (phonetic), are you online with Bruce? (phonetic) Can  
16 you answer that?

17 **MR. STRAIT:** I will -- I'll have to  
18 unmute them --

19 **MR. TAM:** Okay.

20 **MR. STRAIT:** -- just a moment.

21 **UNIDENTIFIED SPEAKER:** TMY 3?

22 **MR. STRAIT:** Um-hum. What are we looking  
23 for?

24 **MR. TAM:** T -- TMY 3.

25 **UNIDENTIFIED SPEAKER:** (Indiscernible) --

1                   **UNIDENTIFIED SPEAKER:** And we're already  
2 using it with ENERGY/PLUS, the (indiscernible). Yes,  
3 so (indiscernible) --

4                   **MR. SHIRAKH:** Yeah, could you come up to  
5 the --

6                   **MR. STRAIT:** Anybody who says anything,  
7 needs to be in front of a mic and needs to say who they  
8 are.

9                   Also who are we unmuting for -- you said  
10 you were -- I don't see a Bruce Wilcox.

11                   **MR. HEDRICK:** Yeah, I'm -- I'm Roger  
12 Hedrick from NORESKO. We're already using them in our  
13 Energy Plus simulations as with CBECC-Com they're EPW  
14 files. Yeah.

15                   **MR. STRAIT:** Thank you. Mike Moore also  
16 asks, are the new weather files available now for use  
17 in CBECC?

18                   **MR. HEDRICK:** I believe they are.

19                   **MR. TAM:** We are using them in our  
20 research version.

21                   **MR. TIFFANY:** Tedd Tiffany, Guttman &  
22 Blaevoet Consulting Engineers. Danny, thanks for your  
23 hard work on this. Since you've done the work on the  
24 future weather files, may I suggest that you include  
25 these in CBECC as an option for folks looking to

1 utilize those, because they're hard to access. And if  
2 you have those available and for public use, that would  
3 be a benefit to the community as looking for, an  
4 instance, we use those for planning for buildings we're  
5 not providing cooling in. And we can see the maximum  
6 temperatures in spaces with those weather files. So it  
7 helps us plan for future cooling. So if you have that  
8 dataset available for the public, it's -- make its  
9 accessible, so I would encourage including that in  
10 CBECC.

11 **MR. TAM:** Yeah, if you mean the global  
12 climate model, like I mentioned, it doesn't have  
13 everything we need for building simulation, so we can't  
14 really use it directly.

15 **MR. TIFFANY:** Okay. Thank you.

16 **MR. TAM:** Yeah.

17 **MR. NESBITT:** George Nesbitt,  
18 (indiscernible). Are we building buildings for the  
19 weather of the past or for the weather of the future?  
20 I -- I think, as we all know, that there is a trend in  
21 the change of weather and it's going to continue.  
22 So -- so you know, updating the more recent weather  
23 makes a change, but that weather's going to keep  
24 changing. So should we be looking out ten years or  
25 twenty years?

1                   **MR. DELFORGE:** Pierre Delforge,  
2                   (Indiscernible), I want to thank the commission for the  
3                   work on (indiscernible) updating these files. I think  
4                   it's really important and I strongly support it. I  
5                   have, but along the lines of those comments, you know,  
6                   I think when we look at the very complicated box and  
7                   whiskers chart that you showed, that showed that the  
8                   climate models -- global climate models are  
9                   significantly higher and more spread apart than the  
10                  proposed. And I wonder if you have examined or  
11                  explored the feasibility of considering the trend and,  
12                  you know, maybe not using this particular data if it's  
13                  not, you know, sufficient, but finding, I believe there  
14                  are some forecasts of weather files, ARAP, amongst  
15                  others, has some data on this. I wonder if you have  
16                  exact notes (indiscernible) using that and whether it  
17                  would make a difference -- a significant difference, as  
18                  it seems to, you know, to indicate on these charts.

19                  **MR. TAM:** So yeah, so to answer your  
20                  questions, we actually have looked at it. We --  
21                  experimenting with (indiscernible) trending to the  
22                  future years. So what had happened is, there was a lot  
23                  of months that actually overshoot the climate model. In  
24                  this graph, the hotter the months are the months where  
25                  the medium actually overshoot what the climate model had

1 for, you know, 2050. I mean, in the future, there  
2 could be some additional work to be done, but for this  
3 round, we kind of stopped where we're at because we  
4 kind of, you know, ran out of time. But we can  
5 definitely consider that for the future.

6 **MR. DELFORGE:** Thank you.

7 **MR. SHIRAKH:** Any other questions in the  
8 room or on the WebEx?

9 **MR. STRAIT:** All folks, on the WebEx, if  
10 you'd like to ask a question, either type into the chat  
11 box or raise your hand and I can unmute your line.

12 **MR. SHIRAKH:** Go ahead if you're hearing  
13 us and you want to ask a question. We're not hearing  
14 your question. Feel free to use the chat box to type  
15 in your question and we'll respond to it. Any other  
16 questions or comments?

17 So we'll have plenty of opportunities for  
18 other questions and answers.

19 So I'm going to ask that we --

20 **MR. STRAIT:** I'm sorry. Bill Dakin just  
21 raised their hand.

22 **MR. SHIRAKH:** Okay. All right, Bill.

23 **MR. DAKIN:** I (indiscernible) --

24 **MR. SHIRAKH:** We can barely hear you. I  
25 don't know if you can move closer to your mic?

1                   **MR. DAKIN:** Can you hear me better?

2                   **MR. SHIRAKH:** Much better, yes.

3                   **MR. DAKIN:** Okay. So the question I  
4 was -- had is can you expand on how the twenty-year  
5 dataset provides more resilient buildings?

6                   **MR. STRAIT:** You want to answer that,  
7 Mazi?

8                   **MR. SHIRAKH:** It has more extremes on  
9 both summer and winter, whereas some of the other  
10 choices had more extreme in the summer, but very  
11 moderate temperatures in the winter. So that was the  
12 basic difference.

13                   **MR. DAKIN:** Thank you.

14                   **MR. SHIRAKH:** Any other questions online?

15                   **MR. STRAIT:** I am not seeing any other  
16 questions and no one else has raised their hand to  
17 speak.

18                   **MR. SHIRAKH:** Okay. We're going to  
19 switch to E3. Thank you, Dan.

20                   **MR. PRICE:** Okay. Good morning  
21 everybody. My name is Snuller Price. I'm a partner  
22 here at E3. And I think this might be my fifth or so  
23 code cycle. And looking out at the room, you know,  
24 that's not very many. There are some in the audience  
25 who have been here for more. I -- I am going to start

1 us off on our presentation today, but I'm also -- have  
2 the pleasure of introducing two E3 colleagues. Younger  
3 faces behind the microphone to talk about some of the  
4 work that we've been doing. And I encourage you to ask  
5 them all the hard questions. And yeah, no, just a  
6 pleasure to be here. And excited to tell you the work  
7 that we've done behind this code cycle, which is  
8 actually, I think, quite a bit more significant than  
9 prior code cycles because of all the weather that  
10 changes that we've seen. So happy to walk through it.

11 We're going to do a little bit of  
12 background. I know there's a lot of pros in the  
13 audience. But I'm still going to start, just to make  
14 sure we have everybody in the room know what TDV is and  
15 what it does, so that we've bringing everybody along.

16 I want to spend a fair amount of time  
17 talking about the policy framework because what we're  
18 trying to do is think about, when we build a new  
19 building, starting -- remember, in 2023, we're talking  
20 about, what is that energy system going to look like in  
21 California? And what is the weather going to look like  
22 in California? And is that building going to be a good  
23 citizen for the type of electricity grid that we have,  
24 for our climate goals, for our refrigerant gases?  
25 You'll see, our non- non-combustion emissions; what --



1 what can we do now, thinking about -- projecting the  
2 future? And as you will see, it's quite a bit of  
3 interactions that happen between buildings and all the  
4 energy systems that supply energy to those buildings.

5 We have two scenarios I'm going to queue  
6 up. And we'll talk about that.

7 Then we will present what the values are  
8 in comparison to 2019. And I think, in some cases,  
9 back to 2016. As Mazi mentioned, this is the first  
10 code cycle where we're introducing a new metric, a  
11 source energy metric. And we're going to present the  
12 draft of those. One way to think about the source  
13 energy metric is really as the buildings GHG footprint.  
14 Okay? So it's not the same -- it's not just one  
15 dimension going forward, in terms of just the TDV  
16 energy kBtu. There's sort of two dimensions,  
17 potentially, in the standard. And so that provides a  
18 better tool, less course tool, to really push down the  
19 GHG content of our new buildings in this energy future.  
20 So very excited about that. I think it's a pretty  
21 interesting innovation, and I'm looking forward to what  
22 the comments are. As I mentioned, we're also taking a  
23 shot at the non-combustion emissions. So as Mazi  
24 mentioned, we're looking at a lot of electrification.  
25 Heat pumps, as everyone knows, have refrigerants, and

1 those are high global warming potential gases. So we  
2 want to take a look at, well, how much new climate  
3 burden are we putting in in our electric buildings  
4 to -- in order to reduce GHGs and -- and how do we  
5 account for that balance? So -- so that's also  
6 something that we've been working hard on with the  
7 commission staff and with the air resources board  
8 staff, as well to -- to try to characterize what that  
9 looks like. Both on the methane side, you know, if  
10 we're switching off of natural gas, that -- natural gas  
11 leaks also have a high global warming potential and  
12 non -- and refrigerant gases have theirs. So how do  
13 we -- how do we wrangle with that balance?

14 So the background, first of all, what are  
15 TDVs? So TDVs, time -- are time-dependent values. And  
16 they're a long term forecast of the hourly electricity,  
17 natural gas, and propane cost to building owners. And  
18 so this is was a cost metric. And they're used for  
19 cost effectiveness, activities, and Title 24. And they  
20 really answer the question of what is cost effective,  
21 you know, per the Warren-Alquist Act, which was passed  
22 in the 70s. I think it was one of the founding  
23 legislation here that established the commission.

24 And this chart on the slide shows what a  
25 sample for Climate Zone 12 looks like. For

1 electricity, these are the averages by hour. And it  
2 just shows that, first of all, this is Climate Zone 12,  
3 so there is also TDVs for all the other climate zones.  
4 So it's got an area differentiation. And -- and all  
5 those areas have been aligned on every aspect with the  
6 weather that Danny presented. And then it's also got a  
7 time differentiation. So when is it expensive to  
8 deliver electricity to a building from a utility, from  
9 a -- from a social perspective?

10           And you'll see -- and this is going to be  
11 a theme that when is it -- it is expensive is in the  
12 evening, right after sundown because solar is low-cost  
13 and getting ever lower. And so -- and we've got solar  
14 on the buildings as well. So it's really after dark  
15 that our system is starting to provide -- or having to  
16 drive up a lot of costs. And so that's going to be a  
17 theme. And that's why we want to have a time  
18 dependence in our building code so that we can provide  
19 a signal for buildings, if they can, to get off of that  
20 evening. Okay? And you can get credit for that in  
21 your designs.

22           So what are they used for? People forget  
23 that TDVs are used for two things; probably not the  
24 people in this room, actually. But the first thing is  
25 the cost effectiveness analysis in the codes and

1 standards enhancement studies. So after this workshop,  
2 as these TDVs get put out into the world, we think that  
3 these TDVs are good framework for looking at what's  
4 cost effective in terms of new measures and new  
5 features to be considered. And those are -- that's  
6 done in every code cycle. And that's measuring  
7 dollars. Okay. So what would this do from a dollar  
8 TDV standpoint.

9           The other thing that it's used for is  
10 code compliance. And so this is the currency for all  
11 the tradeoffs in your building features, right? So if  
12 you want to add more windows then the prescriptive  
13 standard, you might take an energy penalty. You could  
14 do another feature in the building to bring that back.  
15 And then you could have flexibility on the design  
16 valued at the currency that's area and time  
17 differentiated.

18           And so that way, we can really have all  
19 our new buildings in sync with the costs of providing  
20 energy to the buildings, decarbonizing the buildings  
21 out over into the future.

22           So a few frequently asked questions, and  
23 I'm going to pick up speed a little bit. Why do we use  
24 statewide average electricity and natural gas retail  
25 rate levels? I always get this question. And the

1 reason why is so that we have an overall similar level  
2 of stringency in the building code. You know, how high  
3 the rate levels are, are directly proportional to how  
4 hard we're pushing on the building efficiency system.  
5 And so by creating an average, we're -- we're having  
6 buildings that look similar across the state. There  
7 are differences by climate zone, but the overall  
8 stringency is similar.

9 I also get the question, why don't we use  
10 the actual retail rates? And the reason for that is  
11 that these buildings are going to be there for a very  
12 long time. Rates change constantly. And there are  
13 even options for customers to be on different rates and  
14 so on. So what we've done is, we've taken the sort of  
15 underlying fundamentals of the delivering costs --  
16 delivered costs of electricity and gas, and use that to  
17 drive what an ideal rate would look like that really  
18 matched what we thought the utilities costs of service  
19 were.

20 That's also why, when we translate TDVs,  
21 we translate them from dollars to kBtus just with a  
22 straight factor. And it's not really designed to  
23 predict a customer's exact billed savings, sort of the  
24 long-term, over-time billed savings -- related to their  
25 billed savings. But we don't want anybody to confuse

1 that.

2 Let's see if I can actually, oh -- oh,  
3 yeah. So why are they in kBtu?

4 So I added a new FAQ; what are the source  
5 energy factors used for? And this is, I think, Mazi's  
6 going to present this next. On the EDR2, a 2-D EDR  
7 system, it just gives another metric. And this metric  
8 is -- is related and directly proportional to the  
9 greenhouse gas emissions.

10 So you know, if you're a believer in you  
11 get what you measure and you really want to reduce GHG  
12 footprints of buildings, this metric gives you  
13 something that is exactly on that topic. You know, the  
14 ZNE movement and the numbers that Mazi presented are  
15 sort of along that line, but they're a little bit  
16 orthogonal. And so this is just a direct lever right  
17 on what we care about most right now.

18 And why include non-combustion emissions?  
19 That's probably pretty obvious. We're thinking about a  
20 world with tons of heat pumps, et cetera. We should be  
21 accounting for that and be a -- you know, and -- and  
22 understanding that. We should also -- and Gabe's going  
23 to present this -- you know, our proposal creates an  
24 incentive to -- to use lower GHG -- GWP refrigerants in  
25 the buildings. And with -- unless we measure, we can't

1 provide any mechanism to credit. So that's -- that's  
2 why -- that's why it's in here.

3           So I want to talk a little bit about the  
4 framework. And then I'm going to turn it over to Brian  
5 Conlon at E3 to -- to walk through the -- exactly how  
6 we did it. But I had mentioned that what we're trying  
7 to do is -- for new buildings, what energy future are  
8 they going to live in. And so what we've done is we've  
9 constructed a scenario, a future world, that hits our  
10 climate goals. So by 2050, we have eighty percent  
11 below 1990 levels, economy-wide in the state. Okay?  
12 That's an economy-wide target. You can see on my  
13 graph, it's a -- it's a dramatic reduction.

14           We didn't go all the way to Governor  
15 Jerry Brown's executive order of carbon neutrality by  
16 2045. And there might be some in the audience who  
17 thought we should be even more aggressive than eighty  
18 below 1990. I think that just the research is -- is  
19 still out on how we're going to achieve a carbon  
20 neutrality. And also it is an executive order, not  
21 statute. But I would not be surprised if someone is  
22 standing here in three years telling you that we've now  
23 gone to a carbon neutrality by 2045. And you know, the  
24 code development process is a three-year cycle. So  
25 it's pretty clear where we're going, but we didn't go

1 there yet, I think, is one way to say it. And many  
2 decisions to be made between now and then.

3           So how are we going to meet this -- meet  
4 the carbonization future? It affects a lot of  
5 different aspects of our future, not just buildings,  
6 right? So when we break this down from our work, we --  
7 we really identify four pillars of energy  
8 decarbonization. There's energy efficiency and  
9 conservation, not just in buildings and appliances, but  
10 also in transportation and other aspects, even, you  
11 know, denser housing, et cetera, transportation mode  
12 shifts. The other demand side is electrification.  
13 We're going to be talking about that quite a bit. But  
14 not just buildings, but also cars and trucks, and  
15 industry -- all -- all types of fossil fuels that are  
16 easily switched to electricity are potential demand  
17 changes that help us meet our goals.

18           And so one implication of that, and I  
19 think Brian will show you, is that when we look at the  
20 costs of delivering electricity into the future, what  
21 we've done is we've layered on, well, what -- what load  
22 shift do we expect the cars and trucks and other  
23 transportation systems to add, and how will our future  
24 electricity system deliver that energy. And is that  
25 going to move the peak around?



1           Electrification of buildings, really, one  
2 of the most dominant pieces of that is potentially  
3 space heating. So in California, for my whole career,  
4 we've had that summer air conditioning peak load. And  
5 you'll see, we're starting to see, oh, if we're going  
6 to heat all our buildings with electricity, we're going  
7 to start to shift a little bit more and see some winter  
8 loads on the coldest days.

9           On the energy supply, really our approach  
10 is renewables. We've passed SB-100, which requires a  
11 sixty percent RPS by 2030, with interim goals. And  
12 then a hundred percent decarbonized electricity system  
13 by 2045. So the buildings that we're building, the  
14 electricity that's supplying them are going to be  
15 increasingly decarbonized, all the way down to as far  
16 as we can go.

17           We've also got low carbon fuels as a  
18 possibility. And you'll see our scenario includes  
19 biofuels in the natural gas pipeline, includes hydrogen  
20 in our pipeline, and also for other -- other end uses.

21           So it's not just buildings, but what  
22 building -- what system is the building in and what are  
23 all the different aspects of our decarbonization  
24 strategy that affect them.

25           And we've tried to capture that in the

1 standards. So I think I've gone through this mostly.  
2 We've tried to really make sure that our future  
3 complies with all of our statutes and our -- and our  
4 aggressive climate goals. So that our buildings can be  
5 working in harmony with those. And so what does it  
6 look like if you break down the sectors emissions in  
7 our model of this? Over time, it looks something like  
8 this. And -- and I think the thing to point out is,  
9 really, that there's, you know, agriculture is a little  
10 bit difficult, but mostly every sector has to move.  
11 You know, it's not like we've got a transportation just  
12 sitting there without any increasing GAC reductions or  
13 what have you.

14 Industry is hard to move; agriculture is  
15 hard to move. So in our model of the future, we --  
16 where are we getting our emissions if we're going to  
17 try to hit an overall eighty percent in the other  
18 sectors, is the answer, including in buildings. So  
19 while we expect an eighty percent overall economy wide,  
20 we're doing more than that in buildings.

21 So to drill down on buildings a little  
22 bit, in our future scenario, we've tried to define a --  
23 a Pathways case, using our model called Pathways,  
24 that's a -- we think is a balance. So it's got natural  
25 gas in the buildings, but only very high-efficiency

1 natural gas appliances are only installed by 2025.  
2 We've got some renewable natural gas blended into the  
3 pipeline, up to ten percent by 2030, nineteen percent  
4 by 2050. We've got hydrogen in the pipeline, too, up  
5 to the levels that the gas companies say that they can  
6 safely deliver. We've got a lot more details of this  
7 future in a forthcoming publication and I've linked on  
8 this slide for the -- the last publication in case you  
9 want to know more about the Pathways modeling.

10 The other things is, many folks in this  
11 room might have heard of the Energy Futures Initiative  
12 study from Stanford. And just a quick comparison,  
13 their study, they were looking at 2030 with the forty-  
14 percent goal, and they were doing forty percent in  
15 every sector, so -- including hard-to-do sectors. So  
16 it's not exactly comparable to forty percent overall,  
17 where we went higher on sectors that are easier, in our  
18 mind, to get reductions. But they have a similar  
19 amount of renewable natural gas in the pipeline. They  
20 actually have much more aggressive assumptions around  
21 electrification. They do all new electric buildings  
22 starting in 2020 in order to hit their goals in the  
23 building sector which is, you know, obviously, right  
24 around the corner.

25 And the purpose of the future that we're

1 trying to do here is to show that there's these  
2 increasingly aggressive goals, but we're still  
3 providing choices between fuels for buildings. You'll  
4 see, as these TDVs come out, that more and more, you  
5 get more credit if you can find efficient electric use,  
6 but it's still a -- a world where there's choice.

7           And an example of this -- so the selected  
8 scenario, and just to zoom right in on residential  
9 space heating, what does the trajectory of that look  
10 like over time? And this is not just new buildings,  
11 this is our entire building stock, okay? What's  
12 electric, and we've got a fairly, what we would say is  
13 a moderate increase in the share of electric  
14 residential. Contrasting that, we also have -- we've  
15 been working on a high electrification scenario, which  
16 is much faster. So we've got a -- what we would say is  
17 a moderate version.

18           So I had mentioned that we have two  
19 scenarios. So let me walk you through those. And I --  
20 I think that the results that Bruce Wilcox and the  
21 NORESO team are going to present after lunch, chew up  
22 how do the -- those answers come out for both of the  
23 scenarios. And the commission will decide which  
24 scenario to use based on folks' comments and the, you  
25 know, how they're formed. So I want to kind of explain

1       them since they'll be with us all day.   Okay?

2                       So the first scenario what -- is what  
3       we're calling our policy scenario or policy compliant.  
4       And it's fully consistent with our eighty percent by  
5       2050 scenario.   And one of the big implications of  
6       being fully compliant is that there are retail rate  
7       implications.

8                       If, in our policy compliant scenario, I  
9       mentioned that we have biofuel in our gas pipeline.   So  
10      in the policy complaint case, we've -- I've got the  
11      costs of bio -- those biofuels in there.   We also have  
12      a source energy metric.   So our source energy  
13      assumption for renewable energy of all types is zero.  
14      In other words, we're not measuring source energy from  
15      non-depletable resources.   So what that means is that  
16      the source energy for our natural gas in our policy  
17      compliant case is also going down.   Okay?   So it's more  
18      expensive, but we're -- we're -- we're taking on less  
19      source energy.   All right?   So that's -- that's a world  
20      that's all consistent.

21                      Traditionally, the TDVs have been all  
22      based on an IEPR -- the IEPR's retail rate forecast.  
23      So we also have a world where, what we're calling the  
24      mid IEPR case, where, instead of this interaction on  
25      the gas and the decarbonizing the gas world, we have

1 continued a hundred-percent fossil natural gas in the  
2 pipeline and the CEC has a retail rate forecast of the  
3 mid IEPR that goes out at least eight years, and we  
4 just trend that.

5 So the source energy factor is 1 in that  
6 scenario and there's no biofuel in that scenario. And  
7 the retail rates of natural gas are lower in that  
8 scenario. And -- and those are the -- and -- and  
9 you'll see. It sound -- having explained it, it sounds  
10 like, oh, my goodness; this is two different worlds and  
11 how are we ever going to choose? I think, when you see  
12 the results, the -- the implications of this are  
13 actually fairly mild.

14 So we'll wait and, you know, you'll --  
15 when you see the -- the answers and the -- and the  
16 implications of this, you know, this is a little bit of  
17 shift, but it's -- it's up to ten percent renewable  
18 gas. It's -- it's a mild choice. It's not a -- it's  
19 not a night and day type of choice. But nonetheless,  
20 we wanted to take the time to show everybody a little  
21 bit around, you know, the development of these and --  
22 and what the tradeoffs are.

23 Okay. So I'm going to introduce Brian  
24 Conlon from E3, who's going to talk us through how we  
25 took that vision of the future and turned it into TDVs.

1 And then I'm going to come back and -- and present what  
2 the actual TDVs were. So, Brian.

3 **MR. CONLON:** Hey. Thanks, Snu.

4 Yes, as -- as Snu mentioned, there's been  
5 a lot of work that has gone into this round of updates.  
6 This is a -- an overview of the modeling framework that  
7 we had to produce the TDVs, but this is really just a  
8 greatest hits or high-level overview just to remind  
9 everyone that the TDVs are consisting of, you know,  
10 stacked components that represent the marginal costs of  
11 electricity and natural gas and propane. And so most  
12 of what I'm going to discuss here is the electricity  
13 portion of that. And how each of those component was  
14 created.

15 So as Snu overviewed, we have -- start  
16 off with the big picture, Pathways, GHD targets, and  
17 economy goals, to meet our statewide policy targets.  
18 That really establishes a lot of the -- the annual  
19 loads that will sort of pass onto our resolve model,  
20 which does capacity expansion and renewable procurement  
21 to identify what the, you know, optimal package of, you  
22 know, generation and transmission resources are for the  
23 state to meet its carbon goals.

24 Those generation resources are then  
25 passed onto the PLEXOS production simulation model,

1 which has been developed by the CEC's IEPR team to  
2 model hourly energy for the entire western  
3 interconnection, focusing mainly on California, but  
4 capturing the interregional dynamics there. The  
5 important update here is taking in both the resolved  
6 marginal generation mix for the additional renewables,  
7 as well as including weather match loads, including the  
8 EV and building electrification loads, as Snu eluded  
9 to.

10 These, along with a few other large suite  
11 of models coalesces into this TDV spreadsheet, which  
12 produces the final hourly regional TDVs by climate  
13 zone.

14 Just to start at -- at the Pathways  
15 level, looking at the annual load forecast, we see the  
16 stack of our different load components. Traditionally,  
17 what we've done in past code cycles is really focus  
18 on -- on that load baseline and not necessarily  
19 differentiate between these new electrified load types.  
20 And so you've had a weather match load, but you know,  
21 as -- as we add more and more building electrification  
22 using -- and vehicle electrification, using historical  
23 shapes, isn't as appropriate as it once was. So we're  
24 adding a lot of granulatory and sophistication with --  
25 with this process.



1           One of those loads is the -- the building  
2           electrification loads that we got from parametric runs  
3           from NORESO and Bruce Wilcox. The -- these are  
4           marginal loads, so our -- we have sort of a baseline  
5           building electric -- electricity forecast for, you  
6           know, all other types of loads, but for water heating,  
7           space heating, cooking, and clothes drying, loads that  
8           would be, you know, electrified moving away from  
9           natural gas. We have a different hourly load shape  
10          that we scaled up based on the Pathways forecast. And  
11          added in incremental annual amounts matched to our new  
12          CTZ 22 weather that was discussed earlier.

13                 You can see that in 2050, there's quite a  
14          bit of building electrification load. Looking at, you  
15          know, as we're looking at -- these are mostly heat pump  
16          shapes here -- produces a winter peak for just this  
17          load shape alone.

18                 And then, shifting over to the generation  
19          side, once we feed those loads into Resolve, we're  
20          setting Resolve to meet our optimal portfolio; it's  
21          minimizing generation procurement costs to meet these  
22          emissions goals. And you can see, on the left-hand  
23          chart, what that emissions reduction looks like over  
24          time. On the right-side chart, you can see the  
25          increase in effective RPS. Note that these -- the RPS

1 level exceeds our early-term benchmark goals that the  
2 state has set forth because of early procurement by the  
3 model. But note that this is only including bio, geo,  
4 small hydro, solar, and wind. So it doesn't include  
5 large hydro. So by 2045, we're at about ninety-three  
6 percent of retail sales from those sources alone.

7           And this is -- a -- a sample of what --  
8 what the generation resources are made up of. This is  
9 pretty evidence by the large, bright yellow bars and --  
10 and the area, that a lot of the incremental generation  
11 resources are coming from solar. This is both from  
12 rooftop PV, which is sort of the paler yellow. But,  
13 you know, largely, since we're looking at an optimized  
14 view, we're getting a heavy amount of solar. And so to  
15 match that and balance that, especially in later years,  
16 we're adding a pretty significant amount of battery  
17 storage to that mix.

18           So once we have our -- our loads and our  
19 generation resources, we feed that into the PLEXOS  
20 model, and the CEC ran. And again, this reflects the  
21 entire western interconnection, so each one of these  
22 regions in the west is modeled separately with its  
23 unique generation resources, transmission reserves,  
24 loads, et cetera. Important to note that, while the  
25 weather year was created for, you know, a -- a typical

1 climate change reflecting year for California, we took  
2 that same historical weather -- the historical weather  
3 that makes up that weather year and applied that  
4 throughout the west.

5           Important to note that while the weather  
6 year was created for, you know, a typical climate-  
7 change reflecting year for California, we took that  
8 same historical weather -- the historical weather that  
9 makes up that weather year, and applied that throughout  
10 the West so that we have a synchronized coincident  
11 weather happening across the entire western  
12 interconnection. So if you have, say, a sunny day in  
13 L.A., that would correspond with, you know, whatever  
14 that's doing out in Salt Lake City. So you have --  
15 properly reflecting the trade dynamics between those --  
16 those areas.

17           So here's a little preview of what the  
18 outputs from the PLEXOS modeling looked like. These  
19 heat -- heat map charts show the month hourly averages  
20 in the years that we modeled. So it's modeled 2023  
21 through 2030, so that's a -- hourly annual models for  
22 those periods. In previous code cycles, we've done  
23 just, I think, the first six or seven years, and then  
24 used that last year as a trend for -- for the  
25 remaining, you know, twenty-some years that are in

1 the -- that factor into the net present value TDVs.

2 This -- we thought, was really important  
3 to reflect the early dynamics in all of the years, but  
4 also model a year farther out, where, you know, we're  
5 really turning up the building electrification, vehicle  
6 electrification, and the -- the renewable portfolio to  
7 match that. So what we did was we modeled 2023 through  
8 '30 and then 2045, trending those shapes in between.

9 And as you can see from these sample  
10 years, the energy prices have -- have changed in some  
11 pretty interesting but important ways. So 2023, you  
12 have what we consider more traditional with, you know,  
13 low prices in the middle of the day, especially in low  
14 load spring, as well as your summer evening peak, and  
15 that sort of concentration of red. Moving to 2030, we  
16 see, you know, even more low prices, that summer  
17 evening peak disappearing a bit. And moving on to  
18 2045, you see that the peak is now -- peak prices are  
19 now more focused on the -- the winter morning and  
20 evening, due to higher solar, higher storage throughout  
21 the high renewable periods, essentially being zero cost  
22 generation.

23 So here's a quick sample of how that  
24 looks like coming directly out of the model. This is  
25 for average seasonal month in the Southern California

1 Edison region for the year 2030. You can see that  
2 during those high hours, the solar penetration really  
3 pushes down the price of energy, especially in the  
4 spring where it goes negative in some cases.

5 This is a better look at what our TDVs  
6 look like. So this reflects the net present value of  
7 the -- that entire thirty-year time frame for those  
8 energy prices and comparing between this 2022 code  
9 cycle and the 2019 code cycle. A few really important  
10 things to -- to note from these charts is that, you  
11 know, obviously the belly of the duck, or that -- that  
12 large dip in the middle of the day, becomes very  
13 pronounced with the increased solar penetration on the  
14 system. You also see a lower overall peak right after  
15 that duck belly due to higher penetration of storage.  
16 And then you see more of a seasonal variation with --  
17 with the addition of more renewables and loads that  
18 enable low-cost generation in -- in the springtime.

19 Moving on to generation capacity, which  
20 is, you know, another layer in the TDVs, it's pretty  
21 similar to what we saw in the energy heat map chart  
22 with the shifting away from the summer evening peak  
23 more to 2033, the mornings, when the batteries charged  
24 on solar are sort of exhausted overnight and then  
25 looking for actually adding generation capacity in the

1 morning, which is something I don't think we've seen in  
2 previous code cycles.

3 T&D capacity, so transmission and  
4 distribution capacity, has stayed largely the same.  
5 Over -- over -- remains largely the same over the  
6 three -- these three sample years. The peaks and --  
7 you know, constraints on the distribution system are  
8 largely unaffected, but change somewhat with the --  
9 behind the meter solar penetration that we looked at,  
10 as well as looking at the annual updated dollar-per-  
11 kilowatt-year values from the avoid cost calculator.

12 So a few new changes. So a lot of the --  
13 those were, you know, old favorite characters in the  
14 TDVs. Some maybe new faces that we're integrating into  
15 the TDVs, or at least putting a new spin on, are these  
16 three categories that reflect the handling of  
17 greenhouse gases.

18 So we have one, the Cap and Trade  
19 Emissions category, which reflects just the cap and  
20 trade carbon value that's inherent in the energy  
21 production -- in the energy prices. And that's --  
22 that's equivalent to the emissions category that was in  
23 the previous code cycle. The GHG Adder is also  
24 equivalent to what was last known as the RPS Adder, but  
25 since we're moving towards an electricity sector

1 greenhouse gas reduction goal, we are pegging it more  
2 to the generation -- the extra procurement cost for  
3 generation resources to meet our hundred percent carbon  
4 goal.

5           And then this last category as Snu  
6 mentioned, it sort of takes all different sectors to  
7 meet our statewide carbon goals, but the electricity  
8 sector often has some of the cheapest opportunities to  
9 decarbonize, so taking that even beyond the SB100  
10 goals, adding sort of a flat GHG cost to reflect  
11 meeting our 80 x 50 GHG goals.

12           Similarly, with the natural gas TDVs, we  
13 have the Cap and Trade Emissions inherent to  
14 nonrenewable natural gas on the system, netting out any  
15 renewable natural gas from biogas or hydrogen that's  
16 included in -- in the scenario that we're looking at,  
17 either the mid-IEPR or the policy-compliant case. And  
18 then depending on the -- on the scenario again, looking  
19 at the ability of the natural gas sector to meet those  
20 additional 80 x 50 GHG goals.

21           So these are the emissions prices that  
22 we've inherently included from the RESOLVE case, so  
23 it's the abatement price or the price that the model  
24 determines is, you know, the marginal price of adopt,  
25 installing, and integrating the renewable resources to

1 meet our SB100 goals, as well as the IEPR GHG emissions  
2 forecast price that isn't inherently included in the  
3 cap and trade portion.

4 As you can see, the retail rate forecast  
5 that we used for the residential and non-residential  
6 hasn't changed an awful lot between this code cycle and  
7 the last code cycle. We're seeing, you know, a steady  
8 increase in both cases due to, you know, higher  
9 procurement of, you know, basically zero -- zero-cost  
10 renewable resources.

11 So I think I'll now turn it back over to  
12 Snu to talk about what those actually look like.

13 **MR. PRICE:** How are we doing on time?  
14 Are we -- we're good?

15 **MALE SPEAKER:** We're okay. Yeah, we're  
16 good.

17 **MR. PRICE:** Okay, great. Thank you,  
18 Brian. I saw some -- some squinting at the -- this  
19 chart with arrows going up and down and sideways and so  
20 on, so I wanted to say, again, sort of what Brian went  
21 through, but just in my own words so that everybody  
22 understands what's going on. Because I think that was  
23 a really important part, and obviously we can take  
24 questions after. But we've tried to create our cost  
25 accounting for GHG emissions as we incur costs.



1                   So there's three pieces. There's -- and  
2 this is true for both fuels; electricity and natural  
3 gas. So we've -- they come down a little bit  
4 differently, but the first is this number one, which is  
5 the direct emissions. So that's just if I took my  
6 existing system and I produced more electricity to meet  
7 the new load, the generators that are fossil generators  
8 will have to buy allowances. Right? So that goes into  
9 the energy price, and so that's the price that I've got  
10 in number one.

11                   Over time, though, we're going to  
12 decarbonize, so as I've added load, I'm also going to  
13 trigger some renewable investment. Not just the  
14 renewables, but the storage to integrate it, and  
15 there's also some cost of solar curtailment. If I  
16 can't use all of my solar, and so on. That's number  
17 two; that's the cost. And that's specific to the  
18 electricity sector. That's just, you know, I'm trying  
19 to hit SB100, so if I add load, I've got to add  
20 renewables. And that decreases my overall emissions,  
21 right?

22                   And then I have the residual. So those  
23 two things together don't get rid of all the emissions  
24 in the electricity sector. So how do I account for is  
25 there any cost of our residual emissions in the

1 electricity sector? And since we're trying to meet an  
2 overall eighty percent climate target, we have -- we've  
3 attributed a cost to those residual emissions, and  
4 that's number three.

5 And that residual emissions is  
6 essentially our expectation of what the cost is of  
7 hitting -- of sort of marginal resource for our overall  
8 climate plan. And so, a like --

9 **MS. BROOK:** So number three is the final  
10 amount? It's not one plus two for --

11 **MR. PRICE:** No, no, it's one plus two  
12 plus three.

13 **MS. BROOK:** I thought you said it was  
14 residual --

15 **FEMALE SPEAKER:** This is Martha --

16 **MR. PRICE:** Yeah, yeah.

17 **FEMALE SPEAKER:** -- from the energy  
18 commission.

19 **MR. PRICE:** So I can repeat your  
20 question, I think.

21 **MS. BROOK:** Okay.

22 **MR. PRICE:** You're asking is it -- so  
23 number three is the emissions that I end up with --

24 **MS. BROOK:** Okay.

25 **MR. PRICE:** -- at the end of the day.

1                   **MS. BROOK:** Okay.

2                   **MR. PRICE:** So that is right. The tonnes  
3 going into the air is the emissions at number three.

4                   **MS. BROOK:** Okay.

5                   **MR. PRICE:** What were the costs of  
6 getting there? I've got a couple things. I've got  
7 allowances and I've got renewable investment. So  
8 that's how I get there.

9                   **MS. BROOK:** So what --

10                  **MR. PRICE:** So the costs are the sum of  
11 one, two, and three, but the actual tonnes are three.

12                  **MS. BROOK:** Oh, my goodness. Okay.

13                  **MR. PRICE:** Okay.

14                  **MS. BROOK:** I'll try and figure that out  
15 later.

16                  **MR. PRICE:** Okay. And not -- and also  
17 for natural gas, it's the same thing. Okay? It's the  
18 same thing for natural gas.

19                         So I've got my direct emissions from  
20 burning natural gas. In this case, I've introduced  
21 biofuel, so those won't trigger allowances. So I've  
22 got allowances in the natural gas system for the net of  
23 the fossil minus the biogas. And then there's residual  
24 emissions in the natural gas system as well that are  
25 valued at the same cost as the residual emissions on

1 the electricity side. Okay? So it's a parallel  
2 structure. And we can talk more about that.

3 But I want to kind of jump to the  
4 conclusions so that everybody can see what this looks  
5 like, and then we'll talk about source energy. So  
6 here's an example for the Residential Climate Zone 12  
7 TDV component. And they're just sort of stacked up  
8 here. We wanted to show everybody the shape. And all  
9 of these have been updated, as Brian walked through.  
10 So -- and you can sort of see the relative magnitude of  
11 all these components. So the retail adjustment factor  
12 to get from marginal cost to what we would expect a  
13 customer's cost and the retail rate is still the  
14 largest piece -- has been for a while, or forever.

15 And then I've got my energy price. I  
16 mean, this is an annual average on this one chart, so  
17 you know, as Brian said, it's going to be very low or  
18 negative in some hours and positive in other hours.  
19 But it's got this pretty big dip. And then I've got my  
20 Cap and Trade Emissions piece. Those are the  
21 allowances. The GHG Adder, which for electricity is  
22 the cost of my renewable that I'm triggering to reduce  
23 emissions. I've got the residual emissions.

24 Transmission and distribution costs are  
25 all in the evening. And that's because the storage on

1 the system is largely integrated with our supply side,  
2 so we're not necessarily doing distributed storage  
3 everywhere, which could help alleviate that evening  
4 peak. And when you take storage and you put it on the  
5 system, it's lower cost, which is why we do it. But it  
6 still leaves -- it ends up with a peak on the T&D  
7 system is in the evening out in the time, but for the  
8 supply side, the peak -- which is in this yellow -- the  
9 peak is in the evening a little, but it's also starts  
10 to pop in the morning. Okay?

11 And it turns out that when you add  
12 lithium-ion storage, you know, in a four-hour, it's  
13 easier to take care of this sort of evening peak. And  
14 the winter mornings, especially on cold snaps, start  
15 to -- you start to run your batteries down, and you  
16 start to look at different types of technologies, and  
17 it's going to be, you know, the problem our children  
18 can work on in a couple decades maybe as we -- as we  
19 work through this. But it gets a little more  
20 perplexing than just what the technology is that we  
21 have. And it starts to think of seasonal storage  
22 opportunities and those types of things.

23 So this is the shape -- to compare to the  
24 2019 TDVs, which is probably why everybody is here; how  
25 are things changing? If we just map it over, we see a

1 dip in the middle of the day, so you know, energy  
2 efficiency in the middle of the day is less valuable  
3 under this system than it was, and that's just because  
4 of the low cost of energy. But obviously, we haven't  
5 taken the retail rate or -- rate adder. So there's  
6 still value in efficiency no matter when. Okay?

7 The other thing is that the peak in the  
8 evening is a little bit more spread out, and it's  
9 popping a little bit in this winter morning. So I  
10 think -- I think the performance of buildings in the --  
11 in the winter morning have never been a thing, ever, as  
12 far as I know in California, but as we start to look at  
13 buildings we're going to build now and into the future,  
14 that kind of starts to pop up a little bit.

15 Our costs of managing this peak in the  
16 evening have come down. So I don't know if folks have  
17 been following what storage costs are, but every time  
18 you ask how much it costs, you get a lower number. And  
19 so that's why, you know, this is starting to mitigate  
20 this -- this red is not -- and this -- I'm sorry, this  
21 yellow is not what it once was.

22 You know, so that was Climate Zone 12.  
23 There's differences between different zones, so here's  
24 12, here's 7. They have different shapes. We don't --  
25 we're not going to go through all the different shapes.

1 It's still the dominant trend of solar in the middle of  
2 the day, but some weather in more mild climates spreads  
3 the capacity over more hours, so you have less  
4 concentrated value. And so if you're doing things like  
5 battery storage, that could be important in terms of  
6 how much value you get per battery. But it's, you  
7 know, the general trend. And when everybody gets the  
8 numbers, they can go and look at has much  
9 disaggregation.

10           There's also some differences in terms of  
11 residential and non-residential. Not in shape.  
12 It's -- electricity is electricity, whether you're, you  
13 know, residential or non-residential. But the rates  
14 are different, so the retail rate adder affects the  
15 overall level of the code just to reflect cost-  
16 effectiveness of a -- owners.

17           Let's see. So inputs to natural gas --  
18 and remember we have two scenarios on natural gas -- so  
19 this is what the TDVs look like for natural gas on the  
20 policy-compliant case. There's a same kind of buildup,  
21 the retail adjustment. The commodity cost for natural  
22 gas policy case includes the biofuel cost and the  
23 hydrogen cost. Then there's the allowance prices and  
24 then the cost of the residual emissions and then the  
25 pipeline cost. And we still have the pipeline peak

1 cost in the winter for heating.

2 And then in the mid-IEPR case, there's  
3 the other scenario. It's similar, though the retail  
4 rate adder is less, because of the mid-IEPR forecast  
5 there's no renewables in the commodity, but the  
6 emissions are higher. So you know, that kind of  
7 dampens out a little bit those in particular --

8 **MR. PENNINGTON:** (Indiscernible).

9 **MALE SPEAKER:** Mr. Pennington, you should  
10 know better.

11 **MR. PENNINGTON:** I was going to  
12 (indiscernible) --

13 **MALE SPEAKER:** You can try  
14 (indiscernible) --

15 **MR. PRICE:** I was going to, for the  
16 record.

17 **MR. PENNINGTON:** Sorry for cheating.  
18 Yes, Bill Pennington with the Energy Commission. So  
19 could you -- so the difference here between the two  
20 cases is mostly the magnitudes, right? The shape is  
21 very, very similar?

22 **MR. PRICE:** That's correct.

23 **MR. PENNINGTON:** But it's kind of hard as  
24 you're jumping from one slide to the next to see what  
25 the magnitude difference is, so could you --



1                   **MR. PRICE:** Okay. Yeah, yeah. So  
2 let's -- so this is a mid-IEPR case. Let's just take  
3 July -- pick on July. It's 275. If I jump over to  
4 here, it's 325. So fifty out of three -- so it's ten  
5 percent higher or something like that.

6                   **MS. BROOK:** Martha Brook, Energy  
7 Commission. And do you have a comparison to what our  
8 current 2019 (indiscernible)?

9                   **MR. PRICE:** Thank you for asking. So  
10 yes, I do.

11                   So here is how the comparison looks  
12 like -- and I can go back and show the propane -- but  
13 here is the comparison of what the natural gas TDVs  
14 look like to prior code cycles, and probably the chart  
15 speaks for itself, but they've gone up.

16                   The 2016 line is -- this similar shape on  
17 the top line for all of the last couple code cycles.  
18 But we've got much stronger, a much higher cost of  
19 allowances forecast based on this most recent IEPR,  
20 which drives up the cost quite a bit.

21                   We've got -- the retail adjustment is  
22 higher, and the cost of our residual emissions is  
23 higher. So those are the three factors that are really  
24 pushing this up in the world.

25                   **MALE SPEAKER:** Can I ask you a question?

1                   **MR. PRICE:** Of course.

2                   **MALE SPEAKER:** So with the new natural  
3 gas TDVs and electricity TDVs, would you say that heat  
4 pump technologies would actually perform better than  
5 standard natural gas appliances?

6                   **MR. PRICE:** Yes, and I think we're going  
7 to see that. There's a few things, I think, going in  
8 the favor of heat pumps. The first was just the  
9 weather that Danny showed. Like, the world is kind of  
10 warming, and the problem spots for heat pumps are in  
11 the coldest times, so we have more warm weather means  
12 higher efficiencies on heat pumps, so just less use.  
13 It's one thing that's kind of moving that direction.

14                   The other thing that's moving this  
15 direction is that the utilities for natural gas have  
16 been asking for a significant amount of money for  
17 safety upgrades. So that's starting to factor into the  
18 cost of natural gas deliveries. SoCalGas just got  
19 their rate increase approved, which is over thirty  
20 percent, a rate increase over the next few years.

21                   So the relative cost -- there's  
22 uncertainty, I will admit, for the future of what's  
23 going to happen to the electricity rates and wildfires  
24 and so on, so you know, this business is full of -- you  
25 know, we're doing thirty-year forecasts, so we do have

1       uncertainties, but the -- from what we can see on the  
2       ground right now, it seems like things are tilting  
3       towards heat pumps from our perspective. And I think  
4       we're going to see some results from that in the  
5       simulation, too, to play it all the way out and then  
6       multiply by these factors, and everybody can see.

7                 Okay. I want to get to the source energy  
8       metric because it's new. And this is an additional  
9       metric, completely independent of the first one,  
10      although all of the underlying assumptions and the  
11      modeling that Brian described to get there, is all  
12      coordinated. So it's, you know, it's the same dataset,  
13      but we're measuring a different thing, which is the  
14      source energy.

15                And we've defined the source energy as  
16      depletable fuels. Okay? So we're not, in our source  
17      energy metric, counting rays of sunshine that hit on a  
18      solar panel somewhere and thinking that we get a credit  
19      for saving how much. It's just really depletable  
20      fuels, which in our energy system and buildings really  
21      means natural gas, okay?

22                So how much -- whether you're using  
23      natural gas in the powerplant to generate the fuel or  
24      generate the electricity to deliver to the house or  
25      whether you're using natural gas directly in the

1 building.

2                   And I guess the important thing that  
3 we've done to develop the source energy metric is that  
4 we want to look at this from a long-run perspective.  
5 So if we have our renewable generation system for  
6 electricity supply, we want to account for that so that  
7 if we add load from building electrification, we're  
8 also going to add some renewables to the system. So  
9 our factors for the source energy metric account for  
10 that. And I'll show you sort of how we calculate it.

11                   So Brian mentioned that the Energy Supply  
12 Office has been running PLEXOS throughout the years and  
13 then in the future. And what that does is it gives us  
14 this heat map, the short-run source energy heat map,  
15 which is just; if I were to produce another kilowatt-  
16 hour in any of these hours, how much more emissions --  
17 or how much source energy would be used up? And if I  
18 have a thermal powerplant on the margin, I calculate  
19 its heat rate plus the losses, and I get a number.  
20 That's the short-run source energy.

21                   But if I add load, I'm also going to add  
22 renewables, so we account for that. So I've got my  
23 marginal renewable generation profile that is mostly  
24 solar but not all. It's got wind and it's got a  
25 diversity of solar and wind across the WECC. Times the

1 short energy -- short-run energy factors for the  
2 renewable output shape, and it gives me the, well,  
3 what's the emission's response from my supply-side  
4 investment in renewables.

5 And I sum that up so that for every  
6 kilowatt-hour of additional load I'm going to trigger  
7 some amount of emissions reductions from my new  
8 renewable supply to meet that. And I can take that off  
9 of the short-run energy, and I end up with an hourly  
10 long-run source energy. Okay? And what it shows is  
11 that the source energy is much, you know, is much more  
12 like a fossil plant outside of the solar hours. Okay?  
13 But with this credit that I trigger some additional  
14 renewables if I add load, even in the evening or after  
15 dark.

16 And the long-run source energy factors  
17 are hourly because of the way we've structured this.  
18 So we have, in effect, assumed that we're going to hit  
19 an RPS target over time. So like a sixty percent by  
20 2030, forty, you know, and out to SB100.

21 For those following, the PUC also has a  
22 rule making on building decarbonization. And they have  
23 a long-run source energy factors as well for their fuel  
24 substitution test. And the proposed test there is a  
25 little bit different. It's we assume that we're going

1 to hit a carbon target for the electricity sector no  
2 matter what. And when you do that, the hourly  
3 variation all goes away. So I just wanted to mention  
4 that this factors look a little bit different than  
5 another agency's factors, but this preserves an hourly  
6 profile over time for the whole year. And we thought  
7 that for the purposes of the building standards and the  
8 idea about grid harmonization of our new buildings,  
9 that that was worth doing, although I will say, you  
10 know, from the PUC's perspective, they have their IRP  
11 doing planning -- the electricity sector to hit carbon  
12 targets, so for them it makes sense to do carbon  
13 targets, so.

14 Any more questions on that?

15 So what do you get at the end of the day?  
16 At the end of the day you get this heat map of -- and  
17 these are, essentially, the net heat rates for source  
18 energy by hour and month that you end up with for our  
19 source energy factors for electricity. And so, you  
20 know, if you think about a combined cycle plant might  
21 be about a 7,000, 69, 50, something like that if  
22 you're -- you got an efficient plant. And these are  
23 lower than that, even on the hours with thermal, and  
24 that's because it nets that renewable piece. So when I  
25 add load I'm going to have triggered some renewables.

1                   But -- so this gives you a map, and it  
2 also shows you that if you're trying to optimize this  
3 new metric for source energy, if you can use and add  
4 load to soak up your -- the solar and stay off of the  
5 evenings and nighttime, then you're going to do better.  
6 Okay? So it's no mystery. It's just really the  
7 inverse of the solar profile.

8                   I mentioned that we've got two scenarios  
9 for our natural gas. So while we have added the costs  
10 of biofuels in the pipeline for our policies compliance  
11 scenario, we have to also factor that into the source  
12 energy. And so the source energy factors for the  
13 biofuel look like -- if fossil gas is a one, a hundred  
14 percent would be just a sort of a straight line. And  
15 so on the IEPR policy it's a straight line, hundred  
16 percent.

17                   But in the policy compliant scenario, we  
18 have source energy dropping down over time. And that's  
19 just the sheer mix. So the gas is a little more  
20 expensive. But you also take on a little less source  
21 energy, which is the whole point of putting  
22 decarbonized fuels in the pipeline.

23                   So how do things turn out? And I know  
24 that we're going to have the experts this afternoon  
25 talking about the impacts in a lot more detail than

1 this. But I just wanted to kind of show what happens  
2 when we look at source energy metrics to some  
3 buildings.

4 So this is climate zone 12. And we  
5 picked on 16, which is obviously the mountains in a  
6 cold zone. What happens if we do our fuel switch A.  
7 And what's the difference between our mid-IEPR case and  
8 our policy case?

9 And so if you take -- here's our source  
10 energy metric stacking up, our different end uses, you  
11 get the all-electric versus the mixed fuel. And I  
12 think this might be the 2,700 square foot prototype.

13 The source energy is about half the  
14 source energy for mixed fuel, the electricity is about  
15 half, all-electric is about half then. If we do the  
16 policy-compliant case, yeah, my natural gas is a little  
17 lower.

18 But you know, is it dramatic? No, not  
19 really dramatic. When I go to 16, where we've got a  
20 lot more space heating load, the same trend but really  
21 there's a lot more emissions -- or sorry, source energy  
22 associated with the buildings because it's just a lot  
23 colder. And if I have mixed fuel, I've got natural gas  
24 or pipeline gas space heating and then that's those  
25 driving those up.



1                   So with this framework, we end up with,  
2                   you know, again about half, roughly, the carbon  
3                   footprint from an all-electric over its life. And  
4                   that's before we tried to optimize around the source  
5                   energy. This is just taking the profiles out of CBECC-  
6                   Res and multiplying across.

7                   So I'm going to turn it to Gabe to talk  
8                   through the noncombustion. Hopefully, everybody  
9                   remembers back when talked about introducing it. But  
10                  obviously, we're talking a lot about heat pumps and  
11                  electrification. So we've been working on our proposal  
12                  on how to account for the noncombustion emissions,  
13                  so -- and then I think we're going to have a time for  
14                  questions overall for the whole thing, so --

15                  **MR. MANTEGNA:** Thank you, Snu. My name  
16                  is Gabe Mantegna. I'm going to be talking about the  
17                  new noncombustion emissions addition to the TDV  
18                  framework.

19                  So just to -- if you grow what Snu was  
20                  saying earlier, as we're having a lot more heat pumps  
21                  in California, all heat pumps use refrigerants. And  
22                  pretty much all refrigerants in use today are very high  
23                  global warming potential gases, up to about 2,000 times  
24                  more potent than CO2 is about what we're talking.

25                  So these refrigerants, of course, only

1 cause emissions when they leak. But leakage is  
2 inevitable. So it's important to account for these  
3 emissions when we're looking at the life cycle  
4 emissions from an all-electric home.

5 And one important thing to keep in mind  
6 here is that air conditioners use refrigerants too. So  
7 these emissions are actually not too different between  
8 a mixed fuel and an all-electric home. But what we  
9 want to be able to do is incentivize the use of lower-  
10 GWP refrigerants, which are available. But there are  
11 some barriers to using them.

12 And it's also important to account for  
13 the potential for avoided methane leakage on the  
14 natural gas side. The natural gas system is pretty  
15 leaky. But the difficult question here is how much of  
16 the leakage in the natural gas system could we avoid  
17 through electrification of homes.

18 So I'm going to talk about this a bit and  
19 how we got to an estimate. And just to clarify,  
20 methane is a very high global warming potential gas.  
21 So leaking methane is a lot worse for global warming  
22 than burning that same methane and emitting CO2.

23 So just a bit about how this will be  
24 integrated into the TDV framework. What we're going to  
25 do is for a building calculate the lifecycle of CO2

1 equivalent of emissions from refrigerant and methane  
2 leakage. Okay? Multiply it by the GHG Abatement  
3 factor for TDV to get to a (indiscernible). So that's  
4 going to be converted to kBtu and then add it to the  
5 TDV score.

6 And then what this will allow is that if  
7 you can use a lower GWP refrigerant in a building, then  
8 you can use more energy in other places to meet that  
9 same baseline score. And so this is going to be  
10 included in the baseline homes also for both CBECC-Res  
11 and CBECC-Com, what those baseline emissions are.

12 And an important thing to keep in mind  
13 here is that for an all-electric home, these  
14 refrigerant emissions can be a pretty significant part  
15 of the overall emissions. It's about half. So it's  
16 pretty important to take these into consideration and  
17 take into consideration the potential for reducing  
18 these and incentivizing that.

19 So a bit about how this is going to work  
20 with refrigerants. The California Air Resources Board  
21 has standard data that they've compiled on the average  
22 leakage rates for refrigerant-using equipment currently  
23 in use. So there's both an annual leakage rate and an  
24 end-of-life leakage rate.

25 So if you want to look at the leakage

1 rate for one year, what we can do is just divide the  
2 end-of-life leakage over the lifetime, and then you get  
3 an annualized leakage rate. So you can then calculate  
4 either the annual or the lifecycle emissions from  
5 refrigerants for an all-electric home.

6 So a bit about the potential for lower-  
7 GWP refrigerants that are out there just to give some  
8 background on where this could go. There's a lot of  
9 options out there for lower-GWP refrigerants, but  
10 there's a lot of barriers to using them also.

11 The most promising lower-GWP refrigerants  
12 in the near-term is lower-GWP HFCs, which are pretty  
13 similar to the refrigerants in use today but just have  
14 a lower GWP. The main tradeoff with these is that they  
15 tend to be mildly flammable, which is not currently  
16 allowed in the fire code and the mechanical code.

17 So tradeoff there, although we also are  
18 piping other flammable gases into buildings now. So  
19 it's not like it's impossible to deal with. And this  
20 is being done in other places, too.

21 The sort of medium-term option is HFOs,  
22 which are similar to HFCs that are currently used, but  
23 just have a much lower GWP, which is still in  
24 development and currently said to be used in things  
25 like water heaters and those smaller systems.

1                   **MR. SHIRAKH:** May I ask a question?

2                   **MR. MANTEGNA:** Um-hum.

3                   **MR. SHIRAKH:** This is Mazi Shirakh. Is  
4 there an energy penalty for using this alternative?

5                   **MR. MANTEGNA:** Yeah. Not necessarily  
6 with the lower-GWP HFCs. With the HFOs, I think they  
7 tend to be slightly less efficient. But refrigerant  
8 manufacturers are actively working on this. And I  
9 think generally the consensus is that we can get there.  
10 They're just actively developing them.

11                               You can also use hydrocarbons, such as  
12 propane. Obviously, very flammable, so you have to  
13 deal with the flammability there. But this is actually  
14 used pretty widely in places like Europe and India.

15                               The last one -- this is sort of the  
16 longer-term decarbonization goal is you can actually  
17 use CO2 as a refrigerant. This can't currently be used  
18 in larger air source heat pumps because it requires a  
19 lot higher of a system pressure. But it is currently  
20 used in some water heaters. So if the home could use a  
21 CO2 heat pump water heater, then that could be a  
22 tradeoff in the TDV framework that it could help lower  
23 lifecycle emissions.

24                               So now to methane leakage. This gets a  
25 little more difficult to estimate how much leakage we

1 can actually avoid through electrification of homes.  
2 So just to talk a bit about where the leakage is and  
3 then natural gas system, I have a nice little diagram  
4 here.

5 The leakiest part of the natural gas  
6 system is generally considered to be production and  
7 storage. The difficult part is that most production of  
8 California natural gas occurs out of state.

9 So this is not quantified in the ARB  
10 inventory. There's a fair amount of leakage also  
11 behind the meter. This has recently been added to the  
12 ARB inventory.

13 The question here is how much do existing  
14 homes differ from new homes, and will new homes be less  
15 leaky anyways. But there is also a fair amount of  
16 leakage at the meter. And so basically, anything left  
17 of this left-most dotted line could definitely be  
18 avoided through an all-electric home, right?

19 So what we looked at is an attempt to try  
20 and estimate which leaks in the natural gas system  
21 could we avoid through an all-electric home. And the  
22 answer is definitely everything on the left, maybe some  
23 of the right.

24 So we looked at a broad range of studies  
25 on methane leakage to try and get out our question of

1       how much leakage could we actually avoid through  
2       electrifying a home.  So there's a few different  
3       estimates I can walk through.  The first is just the  
4       behind-the-meter leakage in the ARB inventory.  This is  
5       about 0.5 percent of consumption.

6                 The difficult thing is that, as I said  
7       before, this includes both existing and new homes.  So  
8       we're still investigating what the potential leakage is  
9       going to be for new homes because new homes don't have  
10      pilot lights anymore.

11                The second number is the ARB inventory,  
12      which is all of the leakage sources in California but  
13      doesn't include any of the out-of-state leakage.  It's  
14      a bit high.  It's about 0.7 percent.

15                There's also a study of the natural gas  
16      leakage in the L.A. Basin, which found a leakage rate  
17      of 1.4 percent.  And there is production here in the  
18      L.A. Basin.

19                And the really interesting thing about  
20      this is that they found that natural gas leakage was  
21      pretty strongly correlated with consumption.  So  
22      whether or not that was causal is unclear, but it was  
23      very strongly correlated.  So they found an overall  
24      leakage rate for residential and commercial buildings  
25      of 1.4 percent in the L.A. Basin.

1                   And then if we go to a U.S.-wide estimate  
2 of what the total natural gas system leakage is,  
3 there's a range of academic estimates that vary from  
4 one to ten percent. But a more-recent study is getting  
5 out a leakage of 2.3 percent.

6                   And so it's once again the issue with  
7 this is that not all of this leakage is going to be  
8 able to avoid it through electrification. A lot of  
9 natural gas is associated gas. So it's going to be  
10 produced anyways if you're consuming oil, right?

11                   So the answer for the leakage that we can  
12 avoid is probably somewhere in here. But what we're  
13 proposing as a starting point while we do more research  
14 into this is the 0.7 percent leakage rate.

15                   So a sample calculation for how this  
16 looks if you add in that methane and refrigerant  
17 leakage for a mixed-fuel home versus an all-electric  
18 home -- as I said before, the key thing here is that  
19 the mixed-fuel home has refrigerant leakage too. So an  
20 all-electric home still uses about half as much -- or  
21 still emits about half as much greenhouse gases over  
22 its life.

23                   And this is using the long-run  
24 electricity emissions. The methane leakage is a pretty  
25 small component if we use that 0.7 percent but also



1 keeping in mind that reducing emissions from  
2 refrigerants has a pretty large potential to produce  
3 emissions from an all-electric home.

4 So key takeaways here, all-electric homes  
5 are still a lot more low emitting. And there's a lot  
6 of potential to reduce emissions in an all-electric  
7 home if we use lower-GWP refrigerants or can get lower  
8 leakage. And we're still investigating how much  
9 leakage on the methane side we could actually avoid  
10 through electric homes.

11 So that's all I had. And I think we are  
12 on to questions for E3.

13 **MALE SPEAKER:** There is one question I  
14 was asked earlier by Jeff Stein (phonetic). He asks,  
15 "How can I get a copy of the slides?"

16 **MR. SHIRAKH:** We will post the slides  
17 right after the workshop today on our website. So any  
18 questions on -- please come up to the podium, identify  
19 yourself.

20 **MR. MCALLISTER:** Yeah. I've got a  
21 question. So --

22 **MR. SKIRAKH:** Commissioner McAllister.

23 **MR. MCALLISTER:** Yeah. So let's see, I  
24 guess -- yeah. So it's good that the shape of the TDV  
25 now kind of reflects -- you know, is a little more time

1 dependent because we're actually looking at demand-side  
2 resources and you know, (indiscernible), the low  
3 flexibility, and marshalling all this potential we have  
4 out there.

5           So I guess, just from your perspective  
6 sort of working across the building commissions,  
7 instrumentally, how does that -- what conversations are  
8 happening to ensure that that perspective is conveyed  
9 to the end user to motivate behavior? Is that strictly  
10 in a rate-making context or is there an IRP  
11 conversation that's sort of trying to figure out a  
12 pathway to get there?

13           **MR. MANTEGNA:** Yeah, so I think the  
14 places where this conversation is coming up are few,  
15 Commissioner. There's the IRP, which is looking really  
16 at cost. So it's really translating the signal for  
17 active use of demand-side measures through the cost  
18 lens.

19           So in other words, if I can add more load  
20 during the middle of the day --

21           **MR. MCALLISTER:** Yeah.

22           **MR. MANTEGNA:** -- then I've got a low-  
23 cost sink for my solar and I have to buy less storage  
24 and so then that gives me the benefit in terms of the  
25 dollars.

1                   **MR. MCALLISTER:** So I --

2                   **MR. MANTEGNA:** Yeah.

3                   **MR. MCALLISTER:** The preliminary question  
4 is how much of a distortion -- so as we try to  
5 translate and kind of link arms with the PUC --

6                   **MR. MANTEGNA:** Um-hum.

7                   **MR. MCALLISTER:** -- on putting the pieces  
8 in place and the ISO kind of putting this whole  
9 landscape in place so that it makes sense to anybody  
10 who's, you know, walking through it --

11                   **MR. MANTEGNA:** Yeah.

12                   **MR. MCALLISTER:** -- how -- what are the  
13 distortions between the different locations for this  
14 conversation? For example, we've got a -- what, it  
15 looks like about a fifteen-cent retail adder on TDV.  
16 So presumably that cost conversation over at the PUC is  
17 all about, you know, essentially, avoided cost or  
18 wholesale --

19                   **MR. MANTEGNA:** That's right. Marginal,  
20 yeah.

21                   **MR. MCALLISTER:** Marginal?

22                   **MR. MANTEGNA:** Um-hum.

23                   **MR. MCALLISTER:** Yeah. So you know, is  
24 that a problem? And is that going to get in the way of  
25 putting -- of aligning all these incentives?

1                   **MR. MANTEGNA:** So I don't think it's a  
2 problem. I think that it's an answer to a different  
3 question, what we're doing with TDV versus what the PUC  
4 is doing with their distributive energy incentives.  
5 The reason we have the retail adder is because we want  
6 to make sure when we're -- what we're doing with the  
7 building code is understanding the impact on the cost  
8 of the building owners.

9                   And so you know, think about this. If  
10 the marginal costs are super low, the people are still  
11 paying a significant rate in the middle of the day.  
12 The TDV will include that significant rate. And so  
13 what we'll be ensuring is that we're not making people  
14 do things in the code that don't pay off for them over  
15 the life.

16                   And so I think it's really important to  
17 have a consumer lens in the building code when we think  
18 about mandates and what we're requiring in our  
19 buildings, as opposed to the PUC has -- you know, we're  
20 talking about all voluntary. And it's really where  
21 should the PUC allocate its money for incentive  
22 behavior.

23                   **MR. MCALLISTER:** Um-hum.

24                   **MR. MANTEGNA:** And so the participant --  
25 you know, assuming that participants have good

1 information of how what they're doing and what  
2 incentives they're taking, it's the right framework for  
3 the PUC to look at, okay, well, what's our socially  
4 best use of these incentive dollars. So I actually  
5 think that, while different, they're answering sort of  
6 slightly different questions --

7 **MR. MCALLISTER:** Yeah.

8 **MR. MANTEGNA:** -- and it's important to  
9 have the consumer protection and consumer lens on the  
10 building code, whereas the PUC has kind of got a  
11 different animal to wrestle with. So I guess that's  
12 what I would say.

13 **MR. MCALLISTER:** So I agree with that.  
14 And that's, you know, obviously, I'm all onboard with,  
15 you know, providing consumer benefit through the  
16 building code.

17 I guess the -- you know, maybe a finer  
18 point on the question is that if it's still worthwhile  
19 for the consumer, say, in the code environment or  
20 found, you know, the builder to build a building that  
21 invests heavily in efficiency that helps during the  
22 middle of the day or working hours, you know, if  
23 there's still significant value for measures that  
24 decrease consumption in the middle of the day when  
25 power is essentially going to be free at the wholesale

1 level, is that a proper alignment of incentives?

2 **MR. MANTEGNA:** Yeah. Well, so what we're  
3 talking about is how in the rate design are we going to  
4 collect a fixed cost or embedded cost of the system.  
5 And that is a PUC decision. But if you look at the  
6 rate designs and the TOU rates, it's not like they're  
7 giving away the power for free in the middle of the  
8 day, even though we have negative prices in the  
9 wholesale market.

10 So you know, our best -- you know, I  
11 guess it's a little bit of Vaseline on the lens. But  
12 our best is just, okay, we're going to collect our  
13 fixed costs, the same amount, every hour. We're just  
14 going to spread it out, that per kilowatt hour in every  
15 hour as a rough cut at that. I don't think it's  
16 actually too bad. If you go and you look at the rates,  
17 I think that's not terrible a way to allocate those.  
18 You know, it's a pretty tricky 30 year forecast of  
19 rates and how are we going to collect embedded costs in  
20 the rate structures. The -- yeah. So --

21 **MR. MCALLISTER:** Okay.

22 **MR. MANTEGNA:** You know, I guess -- you  
23 know, we could think about that and could try to  
24 introduce demand charges or predictions of that. I  
25 think that the volumetric per kilowatt hour is better

1 for the residential class as a proxy, where we've been  
2 reticent to put demand charges as opposed to the  
3 nonres, which a lot of those customers do have demand  
4 charges. And maybe it's not quite as good of a fit.  
5 So yeah.

6 **MR. MCALLISTER:** Okay. I won't beat that  
7 further.

8 **MR. MANTEGNA:** We can talk about that all  
9 day probably. So --

10 **MR. ELEY:** I'm Charles Eley. I'm a  
11 senior fellow with Architecture 2030. And I was  
12 speaking -- I've got several comments and questions.

13 The first question has to do with the  
14 time arising for global warming potential. You used a  
15 hundred years, I saw. Did you consider using twenty  
16 because, if you do, the methane emissions are about ten  
17 times greater?

18 And on Standard 189, which I'm a vice  
19 chair, we actually moved to twenty years to more  
20 properly --

21 **MR. MANTEGNA:** Okay. Yeah.

22 **MR. ELEY:** -- (indiscernible).

23 **MR. MANTEGNA:** So that would definitely  
24 increase those methane leakage emissions a lot, just as  
25 you said. We used a hundred years because that's the

1 standard in the ARB inventory and generally in  
2 inventories everywhere. But if you could point us in  
3 the direction of standards and whatnot, that would  
4 point to what's using a twenty-year GWP, that would  
5 be --

6 **MR. ELEY:** Okay.

7 **MR. MANTEGNA:** -- very helpful.

8 **MR. ELEY:** I'm thinking John and I could  
9 help you with an argument there.

10 I like the -- I like that your new TDV  
11 curves have a little more curve to them. Before, they  
12 seemed to -- the only spikes were due to transmission  
13 distribution and capacity. You now have a dip in the  
14 middle of the day from energy and other things. But  
15 why not -- why is there no dip for the retail adder?

16 **MR. MANTEGNA:** Yeah. So this was the  
17 conversation that the Commissioner was asking, too.  
18 And it's, you know, really how are we going to charge  
19 customers for the embedded fixed cost of the system.

20 **MR. ELEY:** Okay.

21 **MR. MANTEGNA:** And you know, rate design  
22 is an art. You can put more embedded cost collection  
23 on some hours versus others. And they do that in the  
24 time of use rate designs. But there's definitely some  
25 collection of those fixed costs in the middle of the



1 day, even in all of our existing time of use rate  
2 designs, even in the more extreme ones for EVs and so  
3 on.

4 So you know, how are we going to collect  
5 that money from customers? It's just an assumption.  
6 The reason why I like it flat -- I'll just tell you --  
7 is that when we have it flat then the deltas, the  
8 differences between any hour -- so like if I'm doing  
9 battery storage or load shifting through precooling,  
10 those deltas are all reflective of what the societal  
11 value actually is of that action. So the deltas all  
12 work, right, when you put a flat adder.

13 And so I feel like then we get the right  
14 economic signal for battery storage operation. We get  
15 the right economical signal if we're going to reset our  
16 thermostats and do precooling and cooling during the  
17 middle of the day, not that people don't put a foot on  
18 the scale all the time in rate design, and it's a  
19 political and social tradeoffs and all of that. So I  
20 perfectly acknowledge that. But flat, to me, feels  
21 like at least we're preserving the deltas and not  
22 trying to, like, weigh in on and put even more leverage  
23 than we already are than the underlying marginal cost,  
24 basically.

25 **MR. ELEY:** I want to speak in support of

1 the time-dependent source metric. That's what we used  
2 in the Architecture 2030 ZERO Code. And I believe that  
3 provides a really strong incentive towards more behind-  
4 the-meter storage and more consideration of buildings.

5 One other question. I didn't see that  
6 you considered ammonia as a refrigerant.

7 **MR. MANTEGNA:** That's also an option. I  
8 just didn't --

9 **MR. ELEY:** Oh, okay. You just didn't --  
10 okay.

11 **MR. MANTEGNA:** I just didn't have --

12 **MR. ELEY:** And one other thing in the  
13 Standard 189, we found a -- for future to a gas -- or  
14 methane leaks -- we found a NETL report that gave us  
15 leakage rates of 1.4 at the power plant and 1.8 percent  
16 at the building. So I can provide that to you, and you  
17 can add it to your list there.

18 **MR. MANTEGNA:** Yeah.

19 **MR. ELEY:** And then one last point, which  
20 was not really on your topic, but if we want to  
21 encourage electrification moving to a metric-like,  
22 time-dependent source energy is a big step. But we  
23 also need to look at our baseline.

24 Right now, the residential baseline  
25 depends on what you're doing. So you have a gas --

1 it's gas if you've got gas in your proposed design.  
2 It's electric if you've got a heat pump in your  
3 proposed design. We should set the baseline to be the  
4 low carbon class.

5 **MALE SPEAKER:** That's what I've got in  
6 my --

7 **MR. ELEY:** Oh, good.

8 **MALE SPEAKER:** -- presentation that's  
9 coming up next.

10 **MR. ELEY:** Okay, good.

11 **MR. PRICE:** Thank you, Charles.

12 **MS. BROOK:** Hi. Martha Brook, staff of  
13 the energy commissioner. I have a question for each of  
14 the three E3'ers.

15 **MR. PRICE:** They get the hard ones,  
16 right, unless --

17 **MS. BROOK:** So my first one for you, Snu,  
18 is you talked about the difference between 2019 and  
19 2020 to TDV. You know, the battery costs are coming  
20 down and gas safety costs are going up. But how much  
21 of that, of the differences in costs, especially the  
22 noticeable decline in TDV electricity costs, is because  
23 of the denominator of the metric?

24 We have so much more load on the system.  
25 So we're spreading the cost out.

1                   **MR. PRICE:** Yeah.

2                   **MS. BROOK:** Is that also a part of it?

3                   **MR. PRICE:** That is a part of it. So the  
4 retail rate adder is lower because we are using our  
5 existing infrastructure to deliver more kilowatt hours.  
6 So that is part of it that's lower. But also our --  
7 you know, it's a balance.

8                   It's not only lower. It's also higher  
9 for other reasons because we're doing a lot of new  
10 investment in renewables and et cetera. So there's a  
11 balance --

12                   **MS. BROOK:** Okay.

13                   **MR. PRICE:** -- in the retail rate adder.

14                   **MS. BROOK:** The thing that was the most  
15 shocking to me is that the T&D costs were lower because  
16 I've always thought that huge amounts of new load,  
17 there's going to be a ton of infrastructure cost. And  
18 you're basically saying that that's actually going to  
19 spread across more customers --

20                   **MR. PRICE:** Yes.

21                   **MS. BROOK:** -- just fine. Is that kind  
22 of what you're saying or --

23                   **MR. PRICE:** We're not -- yeah. What  
24 we're saying is a lot of the new load is going to be  
25 able to be served over our existing T&D infrastructure.

1                   **MS. BROOK:** Okay. Okay.

2                   **MR. PRICE:** It's not like we have to  
3 build all new. Now, we have peaks. And those peaks  
4 show up as little spikes on our chart. And they'll  
5 show up in the building simulation as places to avoid.

6                   You know, our ideal world is if we could  
7 not build any new T&D and just deliver a lot more. But  
8 it's not going to be like that. It's going to be some  
9 upgrade.

10                  **MS. BROOK:** Okay.

11                  **MR. PRICE:** And we have a cost factored  
12 in for that. But total T&D per total kilowatt hours,  
13 we should be able to manage.

14                  **MS. BROOK:** Okay. That's fantastic. So  
15 quickly, I know other people want to ask you questions.

16                  Gabe, if you could bring up one of your  
17 last slides where you showed the mixed fuel GHG with  
18 refrigerant. That one right there.

19                  So I can't quite figure this one out  
20 because it looks like the refrigerant leakage is just a  
21 teeny bit more for all-electric.

22                  **MR. MANTEGNA:** That's right.

23                  **MS. BROOK:** Is that just the -- is that  
24 because heat pump water heaters don't have a relatively  
25 low leak compared to a heat pump or an air conditioner?

1                   **MR. MANTEGNA:** It's actually less of a  
2 leak and more the amount of refrigerants --

3                   **MS. BROOK:** Oh.

4                   **MR. MANTEGNA:** -- that's in there.

5                   **MS. BROOK:** Oh. Okay.

6                   **MR. MANTEGNA:** Yeah.

7                   **MS. BROOK:** Okay. Great.

8                   **MR. MANTEGNA:** It's about, like, an order  
9 of magnitude lower refrigerant in a water heater.

10                  **MS. BROOK:** Oh. Awesome. I didn't know  
11 that. That's great. Okay. So that's my question for  
12 you. Thank you.

13                   And Brian, I'm going to make you way  
14 back.

15                  **MR. PRICE:** I can scroll back for you.

16                  **MS. BROOK:** There was an early slide  
17 where you talked about using CBECC heat pump load  
18 shapes. And then you applied that to your pathways  
19 model to get, like, a population level thing. And  
20 that's what confused me because you applied these CBECC  
21 load shapes to the whole stock.

22                   That's what confused me because of do we  
23 just model new buildings and you applied it to all of  
24 the decarbonization that's going to go on in existing  
25 buildings, or do we give you existing building heat

1 pump load shapes?

2 **MR. CONLON:** Yeah. So you know, the --  
3 our load shape -- or forecasted load shapes, were, you  
4 know, a number of different components. We started off  
5 with, you know, the system-wide historical load shapes  
6 that were weather matched based on, you know, existing  
7 technology right now.

8 **MS. BROOK:** Um-hum.

9 **MR. CONLON:** And so we took the  
10 parametric runs from CBECC-Res and CBECC-Com. I'm not  
11 exactly sure on what, you know, different parameters we  
12 used for those.

13 **MS. BROOK:** Um-hum.

14 **MR. CONLON:** But it was a bunch of  
15 different building types and climate -- all the climate  
16 zones adjusted to the IEPR building forecasts and the  
17 PATHWAYS load forecasts --

18 **MS. BROOK:** Um-hum.

19 **MR. CONLON:** -- and then took those, sort  
20 of, incremental heat pump water heating, including  
21 clothes drying loads, and added them in their  
22 incremental nature to the existing system load  
23 forecast.

24 So these are only reflecting, say you  
25 have the inherent forecast for the system, you know,

1 has mixed fuel buildings --

2 **MS. BROOK:** Uh-huh.

3 **MR. CONLON:** -- you know, the new  
4 buildings being built. This is adding the marginal  
5 load of what an electric building would be on top of  
6 that.

7 **MS. BROOK:** But it still is reflecting  
8 your deep decarbonization future, right? So you have  
9 huge heat pump penetration in existing buildings?

10 **MR. CONLON:** Uh-huh.

11 **MS. BROOK:** Is that true?

12 **MR. CONLON:** Uh-huh.

13 **MS. BROOK:** And do you use these load  
14 shapes for that heat pump penetration in existing  
15 buildings? That's what I'm asking --

16 **MR. CONLON:** Yeah.

17 **MS. BROOK:** -- all of us to think about  
18 is -- I would think, though, that heat pump load shape  
19 for a new home that hasn't been retrofitted is going to  
20 be different, and maybe significantly different, than  
21 our new buildings that have really good envelopes.

22 **MR. PRICE:** And --

23 **MS. BROOK:** So maybe we can work on that.

24 **MR. PRICE:** And I think that, Martha,  
25 there's even one more kind wrinkle in that. So I think



1 these are the shapes. So there's the shape, and then  
2 there's the magnitude of the load.

3 **MS. BROOK:** Uh-huh.

4 **MR. PRICE:** And so I think we've used the  
5 shapes from CBECC simulation correlated with all the  
6 weather files, but I'm -- correct me if I'm wrong,  
7 Brian, but the -- how much we scale those shapes up and  
8 down, I think, is coming from --

9 **MS. BROOK:** Yeah, yeah.

10 **MR. PRICE:** -- our energy use.

11 **MS. BROOK:** Yeah.

12 **MR. PRICE:** So like an existing building  
13 might use more energy for space heating --

14 **MS. BROOK:** And I think --

15 **MR. PRICE:** -- than a new building.

16 **MS. BROOK:** -- the shape is probably a  
17 little different, too. Yeah.

18 **MR. PRICE:** The shape might be different,  
19 too, but --

20 **MS. BROOK:** Yeah.

21 **MR. PRICE:** -- I think we're at least --

22 **MS. BROOK:** Okay, okay.

23 **MR. PRICE:** -- capturing, like, the --

24 **MS. BROOK:** All right.

25 **MR. PRICE:** -- kilowatt hours, not -- if

1 not the shape.

2 **MS. BROOK:** I was hoping I could ask  
3 Bruce and Roger for all of their existing building  
4 models. That's what I was hoping for.

5 **MR. PRICE:** Oh, okay. Well, you can. I  
6 won't stop you.

7 **MR. DELFORGE:** Here their floors and  
8 other things, for a while. That was then. But I  
9 think -- so I have a ton of -- a ton of questions and  
10 comments. I'm only going to going to go through some  
11 of the top ones in the short time that we have.

12 First, I think generally, I really  
13 appreciate and support the direction of really  
14 including building decarbonization as the central  
15 direction in these metrics, and I think generally, it  
16 seems to be in the right direction. So strongly, you  
17 know, we support the overall direction.

18 I do have some questions and a concern,  
19 and my main concern is actually related to the one that  
20 Commissioner McAllister raised early on, on the retail  
21 adjustment. I think the problem is that -- yes, thanks  
22 for bringing it up.

23 **MR. PRICE:** I'll pull it up so everybody  
24 can see how big it is.

25 **MR. DELFORGE:** So if you look at it right

1 here, it seems to be around sixty percent of the entire  
2 price signal is retail adjustment, I mean, roughly,  
3 right?

4 **MR. PRICE:** Yeah.

5 **MR. DELFORGE:** And by making it flat, you  
6 are dampening, very strongly, the incentive for load  
7 flexibility and load shifting.

8 And this is purely under assumptions  
9 because, you know, as you said, it's an assumption  
10 around, you know, cost collection, energy revenue  
11 collection, it's not -- it doesn't have to be that way.  
12 It could be proportional to the other signals. And we  
13 spent a lot of time making a lot of assumptions around,  
14 you know, the amount of renewable gas and all of the  
15 other assumption I won't go into, which are basically,  
16 I assume, have very little impact compared to that  
17 major assumption it's going to be flat. And I would  
18 strongly encourage you to consider alternative that  
19 better value grid flexibility and load shifting, which  
20 are a key part of what we need for decarbonizing our  
21 buildings.

22 And you know, this doesn't even reflect  
23 the three-to-one ratio that we have on some of our  
24 retail rates today in effect with, you know, Atchison's  
25 PG&E's EV rate. So these retail rates are basically

1 just -- I think is a major issue in terms of a price  
2 signal for load flexibility.

3 Next, I also question why we're not  
4 focusing on carbon neutrality by 2045 as a policy  
5 scenario. I have --

6 **MR. PRICE:** I thought you might.

7 **MR. DELFORGE:** You know, the eighty by  
8 '50 is our executive orders. So there's no difference  
9 between the two. They're all executive orders. We  
10 need to decarbonize buildings. We know that buildings  
11 are easier to decarbonize -- not easy, but they're  
12 easier to decarbonize than other sectors. So it's a  
13 big difference in trajectory by, you know, between  
14 aiming for eighty percent by '50 and aiming for zero by  
15 '45. It's a significant difference that we should at  
16 least consider what this means.

17 The other assumption around, you know,  
18 targeting a slower building electrification scenario,  
19 that seems, you know, cautious, probably not what we  
20 think we need to achieve to decarbonize our economy  
21 when we begin NRDC and many others.

22 On the other hand, assuming ten percent  
23 renewable gas by 2030 seems extremely ambitious  
24 compared -- now, given that we haven't had any at all  
25 today in our gas pipeline, and we don't have any

1 policies in the RPS that are going to -- and it's  
2 extremely high cost. So how can we assume we're going  
3 to go from a fraction of one percent to ten percent and  
4 then, you know, twenty or more by 2050, when we hardly  
5 have anything today with -- you know, we already have  
6 building electrification policies?

7           So there seems to be a disconnect in  
8 terms of the ambition, the ambition that's involved  
9 between these two assumptions. And I would encourage  
10 you to take the high building electrification scenario  
11 as an assumption to underly all this work.

12           Last, on the nonconversion emission, I  
13 think it's a great improvement. So thank you for doing  
14 that. Two issues here, though. One is on the leakage  
15 rates. So if we assume that it's .5 percent behind the  
16 meter, and just another .2 percent to get to this .7  
17 assumption, we're really saying we don't really have  
18 much impact at all on upstream emissions. And when you  
19 consider that, you know, you've referenced this 2.3  
20 percent, not including behind the meter, so behind the  
21 meter, it will be 2.8 percent, I think we need to have  
22 something which is much -- you know, I don't think  
23 we'll be able to be able to avoid all this 2.8 percent,  
24 but something much closer to that, you know, less  
25 conservative than what has been assumed right now,

1 which is almost -- you know, very little other than  
2 behind the meter.

3           And then I just want to encourage -- to  
4 support what Charles said. You know, hundred-year GWP  
5 is not relevant in the era of the climate crisis. We  
6 have, you know, ten years to turn things around, and we  
7 come -- I mean, it's important for the very long-term,  
8 but in the very short-term, twenty-year is really what  
9 we need to focus on. So I strongly encourage you to --  
10 you know, not undervalue -- you know, a hundred years  
11 undervalues methane leakage by a factor of 3.5,  
12 roughly. And I think it's really important that we  
13 consider the urgency of the climate crisis and the  
14 underlying assumptions around it.

15           With that, thank you, and we'll be  
16 commenting on record.

17           **MR. MCALLISTER:** Yeah, great. Thanks,  
18 Pierre.

19           **MR. DELFORGE:** Thank you.

20           **MR. MCALLISTER:** I thank everybody for  
21 your comments, and we still have more.

22           But on that methane issue, it seems  
23 like -- so how are you dealing with the shorter-term  
24 residence of methane? I mean, a hundred years isn't  
25 really relevant because methane molecules just -- if

1 you limit emissions --

2 **MR. PRICE:** Yeah.

3 **MR. MCALLISTER:** -- it's all done in ten  
4 years.

5 **MR. PRICE:** Yeah, so I guess we're not,  
6 really. Let me take a shot at this, and then Gabe, you  
7 can chime in, too.

8 Where's our chart?

9 So you notice that what we are  
10 recommending is really the ARB inventory. And so, you  
11 know, we kind of went fully aligned with ARB in our  
12 proposal. And that's where the hundred year comes.

13 And so, you know, it's -- we think, and  
14 probably, you know, Pierre would agree, like, it's a  
15 first step. We know we -- in order to really get  
16 looking at the refrigerant gasses, we need to also  
17 account for the methane change. So -- so we already  
18 know we're having to do a methane assumption, and the  
19 data -- and Gabe showed four studies. We actually  
20 looked through about twenty. But none of them, not a  
21 single one, really tells us or has a number that is,  
22 like, the one we want, which is, how much will methane  
23 leak change based on a change in load?

24 And so in the absence of information,  
25 what we wanted to propose was a first step that gets us

1 going on being able to account for noncombustion  
2 emissions and that aligns with our other state agency  
3 that's focused on this issue exactly, recognizing we've  
4 got to start somewhere and move forward.

5 So -- so that's -- that's why -- that's  
6 why you see what you see. And you know, the -- and --  
7 and -- you know, I -- the code cycles every three  
8 years, so the idea is, you know, I -- I understand the  
9 NRDC's position is to go farther faster, but we will  
10 have another bite of the apple in -- in three years.  
11 So the question is just how far to go.

12 I guess the other thing that I would say  
13 along that, if I -- if I may --

14 **MR. MCALLISTER:** Yeah.

15 **MR. PRICE:** -- just to go back to one of  
16 Pierre's comments as well, you know, why take this  
17 slower building electrification scenario? Sort of  
18 seems like a -- an unusual scenario. And the reason  
19 why is, again, this sort of incrementalism. So if we  
20 pick the high-electrification scenario, the natural gas  
21 rates are so high because of the throughput decline,  
22 that essentially, there's no more choice for natural  
23 gas versus electric.

24 So then, in this -- and we have some --  
25 and we have some factors. But so incrementally, we're



1 leaning the scale towards -- you know -- and benefits  
2 of higher electrification penetration, but the choice  
3 is a -- is an incremental step. And if we took the  
4 other step, it's really all the way there, and then  
5 we've -- we've eliminated fuel choice.

6 So -- so I'm -- you know. I know that's  
7 a very practical or just direct implication, but I  
8 might as well just tell everyone that's -- that's why  
9 we ended up with an incremental step, at least in our  
10 mind, as a -- as a recommendation.

11 **MR. MCALLISTER:** Okay. The reason I  
12 asked about methane is just earlier this week, I was  
13 down looking at dairy digesters, right? And just the  
14 massive amount of capture of methane that they're doing  
15 that used to go into the atmosphere. And they're  
16 building a ton of projects, and there's, like, a real  
17 pipeline full of projects.

18 **MR. PRICE:** Uh-huh.

19 **MR. MCALLISTER:** And you know, if you  
20 translate that avoided methane emissions to carbon  
21 equivalents, carbon dioxide equivalents, you really  
22 lose the temporal advantage of getting the methane --

23 **MR. PRICE:** Uh-huh.

24 **MR. MCALLISTER:** -- which is like, okay,  
25 well, you know, we're saying it's like carbon. But

1 that's like, it's going to resident for a hundred years  
2 in the atmosphere, whereas methane is resident for just  
3 a few. And so it actually bends the curve faster than  
4 would be possible if you were only talking about CO2  
5 to, in the near-term, control methane emissions. So  
6 it's got kind of a bigger benefit, a bang for the buck,  
7 early on, and that's kind of what we need in a lot of  
8 ways.

9 **MR. PRICE:** That's interesting. That  
10 effect that you're talking about, of we -- our  
11 counterfactual would have been release the biomethane  
12 into the atmosphere, is not in our case.

13 **MR. MCALLISTER:** Oh.

14 **MR. PRICE:** So -- so we're assuming,  
15 basically, we're going to capture and flare at the very  
16 worst.

17 **MR. MCALLISTER:** Right, okay.

18 **MR. PRICE:** We're not just going to let  
19 unabated methane go into the atmosphere. So we're not  
20 taking extra climate benefit for biofuel use in our  
21 pipeline for our buildings, based on the counterfactual  
22 of, we would have just put it up into the atmosphere.

23 **MR. MCALLISTER:** Although, the  
24 distribution grid, the gas distribution network, would  
25 be just losing methane.

1                   **MR. PRICE:** Yeah.

2                   **MR. MCALLISTER:** Right? So that's --

3                   **MR. PRICE:** That's -- that's right.

4                   Yeah.

5                   **MR. MCALLISTER:** So capturing that

6                   methane --

7                   **MR. PRICE:** That's right.

8                   **MR. MCALLISTER:** Okay.

9                   **MR. PRICE:** So if it leaks in our

10                  delivery, then yes.

11                  **MR. MCALLISTER:** Yeah.

12                  **MR. PRICE:** And if we can change that,

13                  then -- then we take credit for that piece.

14                  **MR. MCALLISTER:** Yeah.

15                  **MR. MANTEGNA:** You're definitely right,

16                  it's not an apples-to-apples comparison at all

17                  between --

18                  **MR. MCALLISTER:** Yeah.

19                  **MR. MANTEGNA:** -- methane and -- and CO2.

20                  I think the idea of using a twenty-year GWP instead is

21                  definitely well-taken, and we'll definitely consider

22                  that.

23                  **MR. MCALLISTER:** Okay. Okay, great.

24                  **MR. PRICE:** I wanted to point out one

25                  other thing between the .5 percent and the .7 percent,

1 since Pierre -- you know, the .5 percent is our  
2 existing -- was largely our existing homes, where  
3 there's a lot of pilot lights or what have you. So I  
4 don't think you -- you know, none of these -- like I  
5 said, none of these studies is exactly what we want,  
6 right?

7 So the .5 is a whole mix -- I think there  
8 was, like, one or two new homes in this study; maybe  
9 just one that gets us to .5 percent, the all leakage in  
10 California, .7, so -- yeah, sure, Pierre. Come one.

11 **MR. DELFORGE:** New homes also have  
12 tankless gas water heaters, which are a major source of  
13 leakage, so no pilot lights, but alternatives which may  
14 also be significant.

15 **MR. PRICE:** Yeah, we -- we have two  
16 studies on that, and they're wildly different in their  
17 conclusions about how much tankless water heaters leak.  
18 We have one study that says, you're right, like, it's a  
19 big source, and conjectures that, you know, every  
20 ignition cycle, there's a puff of methane that get --  
21 and not all of it gets ignited.

22 Another study has pretty low, so you  
23 know, this is like we're trying to get at, like --  
24 you -- you read these two studies and you explode,  
25 right? So we need a third study to be the tiebreaker,

1 or maybe a tenth study.

2 So you know, that's -- we're in a --  
3 we're in a second-best world in terms of what's  
4 available in the literature.

5 **MR. DELFORGE:** Going back to the retail  
6 ad, or -- when Wilcox will show his results, you see  
7 that the demand response signals get significantly  
8 weaker in 2000 -- well, the 2022 TDVs because of --

9 **MR. PRICE:** Yeah.

10 **MR. DELFORGE:** -- you know, it's not as  
11 peaking, and -- even though there's a dip. So --

12 **MR. PRICE:** Yeah.

13 **MR. DELFORGE:** -- again, I kind of want  
14 to add my voice to the people --

15 **MR. PRICE:** Yeah.

16 **MR. DELFORGE:** -- who want to reconsider  
17 the retail adder, perhaps, as a way of restoring some  
18 of that demand flexibility signal.

19 **MR. PRICE:** It's so interesting. I mean,  
20 if we zoom out, we're looking at an energy future  
21 that's almost all fixed-cost.

22 **MR. DELFORGE:** Yeah.

23 **MR. PRICE:** The cost of our solar farm is  
24 fixed; the cost of our battery is fixed. It's just all  
25 infrastructure, and we don't have any variable costs.

1                   So like, when we come back here after  
2 three more Coates cycles, it's just going to be, like,  
3 a blue bar. You know.

4                   **MR. MCALLISTER:** The thing, though -- the  
5 thing, though -- let -- I mean, I got to chime in here,  
6 though.

7                   **MR. PRICE:** Yeah.

8                   **MR. MCALLISTER:** How is that going to  
9 happen in practice if we don't have a stimulus for  
10 investments in the thing to allow that load shape to  
11 flatten? That's the thing.

12                   If we can't figure out how to motivate  
13 investment behavior such that we optimize our  
14 infrastructure investment and don't just focus on  
15 the -- you know, on whatever that -- you know --

16                   **MR. PRICE:** Uh-huh.

17                   **MR. MCALLISTER:** -- the peak time is  
18 going to be and don't revolve around that but actually  
19 move energy around throughout the course of the day and  
20 all that.

21                   **MR. PRICE:** Yeah.

22                   **MR. MCALLISTER:** You know, if we don't  
23 have that incentive to behavior, then we're not going  
24 to get to that particular future. So like, it's a  
25 chicken/egg.

1                   **MR. PRICE:** Yes, it is a chicken/egg.

2                   **MR. MCALLISTER:** So anyway -- so --

3                   **MR. PRICE:** I agree.

4                   **MR. MCALLISTER:** But that depends -- I  
5 mean, in many people's view, certainly mine -- that  
6 depends on having time-dependent pricing that has a lot  
7 more teeth than what we're seeing today --

8                   **MR. PRICE:** Yup.

9                   **MR. MCALLISTER:** -- which is the standard  
10 TOU.

11                   **MR. PRICE:** Uh-huh.

12                   **MR. MCALLISTER:** So what are the -- you  
13 know, again, I guess, just what are the levers that we  
14 need to be trying to pull to make that happen? We  
15 don't do rainmaking here. The CCA's only presented a  
16 great opportunity to play in this field in a way that's  
17 more iterative in a time frame that matters.

18                   **MR. PRICE:** Yeah.

19                   **MR. MCALLISTER:** But you know, we need to  
20 work with the PUC on this.

21                   And so I think that flat retail adder  
22 potentially creates a disconnect between the  
23 conversation we need to be having in terms of time-  
24 responsive pricing and the kind of long-term end state  
25 of, you know, all infrastructure and no commodity.

1                   **MR. PRICE:** Yeah. This is a really  
2 interesting discussion. I think that in the 2005 Title  
3 24 building update, when we introduced TDVs, it was a  
4 topic then. And we decided to go flat because of the  
5 signal it gave to energy efficiency in buildings.

6                   **MR. MCALLISTER:** Yeah, absolutely.

7                   **MR. PRICE:** And you know, maybe, you  
8 know, as we're changing our energy system from variable  
9 to all fixed-cost, we need to think about that and  
10 whether we -- what was right in 2005 is still the right  
11 thing. Clearly, you could make them proportional, and  
12 then you would have the same shape, and you could add  
13 the retail rate adder and still get the stringency.

14                   So clearly, you know, that's not a hard  
15 math problem.

16                   **MR. MCALLISTER:** Yeah.

17                   **MR. PRICE:** What you will get, though,  
18 when you do that, is that the deltas for, like, battery  
19 storage or whatever -- we're going to be like -- it'll  
20 be supercharged. That difference in the money that it  
21 could make is bigger than it provides value to our  
22 society.

23                   So that's -- that's what I had in my  
24 mind, at least. Thinking about, like, it's tricky.  
25 You know, this is a tricky problem that one solution



1 may create another issue. So -- so I think it's --  
2 it's not one where we would just say, okay, let's just  
3 do proportional. You know, I think we have to really  
4 think carefully about what signals we're sending to the  
5 buildings.

6 **MR. MCALLISTER:** Yeah. Thanks.

7 **MR. TIFFANY:** Tedd Tiffany of Blaevoet  
8 Consulting Engineers. Great point, Mr. McAllister.  
9 And I just wanted to thank you three and staff and  
10 everybody who's worked so hard on this. I'm  
11 continually learning from your reports. But thank you  
12 for all your hard work on this.

13 I'll just add to that electricity adder,  
14 if we're going to incentivize the, you know, nonwires  
15 behind-the-meter valuation of storage and behavioral  
16 aspects, we've got to change that retail adder and rate  
17 structures to align with carbon.

18 My focus really is -- and I want to bring  
19 this back to the natural gas sector and the impacts  
20 there. When we're talking about all these wonderful  
21 tools for looking at, you know, marginal impacts on the  
22 electric side, we really need to take the full marginal  
23 impact of -- of natural gas systems. And if you go  
24 back to the slide about the leakage rates --

25 **MR. PRICE:** Uh-huh.

1                   **MR. TIFFANY:** -- leakage rate really only  
2 impacts what actually gets into the pipeline, and all  
3 these places where we're purchasing ninety percent of  
4 our natural gas supply out of state are currently  
5 flaring a third more of the natural gas that they're  
6 producing before it actually gets in the pipeline.

7                   So this adder needs to be about 1.3 as  
8 far as energy multiplier for natural gas for those  
9 elements. And I'm going to encourage the Energy  
10 Commission and Air Resources Board to start including  
11 that marginal impact of all these natural gas impacts,  
12 because if we include all of that above the leakage  
13 rate, and we're accounting for all those purchases that  
14 we are taking our taxpayer dollars and investing in  
15 transportation systems and purchasing those fuels,  
16 those need to be included in both the cost equation and  
17 the time-dependent source for natural gas. So I would  
18 like to have your feedback on that and how we might be  
19 able to start to capture that.

20                   **MR. PRICE:** Well, I would observe that  
21 you are right, that what we're doing with our source  
22 energy on gas is a 1.0. So we haven't tried to think  
23 about -- you know, and the production of natural gas is  
24 complicated, as Gabe mentioned. It's allowed within a  
25 coproduct with oil extraction. You know, we could, I'm

1 sure, do a whole study on, like, what the right source  
2 energy factor is from a life cycle.

3 You know, when we start to go down the  
4 life-cycle path, there's -- there's life -- it's quite  
5 a -- quite a Pandora's box because I don't think it's  
6 fair to just single out just natural gas. Like, we  
7 should be probably thinking about, opens up building  
8 material, opens up, like, a -- my mind is, like, big.

9 **MR. MCALLISTER:** Well, focus on the  
10 energy sector.

11 **MR. PRICE:** So you know -- so yeah, even  
12 on the energy side, it starts to trace up through, you  
13 know, energy production and solar panels, all of this  
14 kind of stuff that's, like, you know, important. I'm  
15 not saying it's not important. I'm just -- you know,  
16 we have to draw the line -- I do think we have to draw  
17 the line somewhere.

18 And so, where -- you see where we --  
19 where we came down. And I'm not saying it's not worth  
20 further exploration, either. But I don't think we can  
21 solve this problem by just doing the natural gas factor  
22 adjustment. I think we'd have to look at the broader  
23 set of energy generation components.

24 **MR. TIFFANY:** Commissioner McAllister,  
25 just to put this in perspective; the flare rates that

1 were reported this spring were about 50,000 cars per  
2 day, driven for a year, twenty-one million cars each  
3 year that they're flaring off. That's twenty-five  
4 percent of all the cars in California. So that is a  
5 large impact. And the rate payers are paying for  
6 that -- and that's our infrastructure that's delivering  
7 it. It's not just this leakage rate. So we need to  
8 consider it and find a formula to consider it. So  
9 thank you.

10 **MR. NESBITT:** George Nesbitt. TDV is  
11 very complex. I think as a metric, it's done a pretty  
12 good job, I mean, being a cost metric in recognizing  
13 not just the value -- before TDV, it was source energy.  
14 So it was the value of energy versus energy, and it  
15 introduced an added value of when you use the energy is  
16 also as important as what energy you do use.

17 I haven't been completely convinced  
18 that's the best metric to use for decisions. To use it  
19 as determining cost effectiveness for the code, I think  
20 it works pretty good, although one could argue we  
21 shouldn't be using cost effectiveness.

22 So I'm wearing steel-toed boots today,  
23 and number one on my list is the fixed retail.

24 **MR. PRICE:** Okay. So to respond --

25 **MR. NESBITT:** I don't want to -- I don't

1 want to beat it too, too dead. But TDV being a  
2 variable price, I mean, it is essentially a time-of-use  
3 sort of scale in the way it works. But I do think  
4 having the fixed retail at the base, it needs to also  
5 reflect that where we are going and should go and need  
6 to go is a variable retail price. So it should reflect  
7 it, maybe not, you know, to the same extent that it  
8 does anyway with all the other stuff.

9 One of your young ones there made a  
10 comment about accounting for the cost of the three  
11 solar energy. Remember, they used to say nuclear power  
12 would be so cheap that it wouldn't have to be metered.  
13 So we currently have enough TDV where we have excess.  
14 Even though those wholesale prices might go negative,  
15 there is actually a cost to that. The cost is that  
16 steep ramp. The cost is the batteries needed and all  
17 the other things we have to do to deal with that fact.  
18 And of course, as a policy, we're now going to add PV to  
19 all new homes in California.

20 One comment on the refrigerant leaks was,  
21 are you going to use the service life of the equipment  
22 in that projection? Okay. And I don't know if it  
23 matters -- well, whether we use an average or put the  
24 end of life at the end of life, but --

25 **MR. MANTEGNA:** Yeah, so I think it would

1 be the same either way if you were looking at --

2 **MR. NESBITT:** I suppose we can account  
3 for it upfront. The more we can account for it  
4 upfront, the better.

5 **MR. MANTEGNA:** Yeah.

6 **MR. NESBITT:** But anyway, so it looks  
7 like the TDVs for gas have gotten higher, and the TDVs  
8 for electricity have come down -- down a little bit at  
9 their peak --

10 **MR. MANTEGNA:** Oh, yeah.

11 **MR. NESBITT:** -- and the spread has  
12 gotten larger.

13 **MR. MANTEGNA:** Right.

14 **MR. NESBITT:** I think this is -- well, a  
15 signal, assuming it's the metric and that it is  
16 changing the balance between fuel and electricity.

17 And actually, I wanted to make a comment.  
18 Our goal is net carbon. So it's not that the  
19 electricity grid is a hundred percent carbon-free, but  
20 that it would be net carbon, and the likelihood is  
21 we're going to have carbon on the electric grid.  
22 Just --

23 **MR. MCALLISTER:** Uh-huh.

24 **MR. NESBITT:** -- reality. And then  
25 source energy, back to the future, I guess --

1                   **MR. MCALLISTER:** Uh-huh.

2                   **MR. NESBITT:** -- where we moved to TDV,  
3 it was one for natural gas --

4                   **MR. MANTEGNA:** Like three?

5                   **MR. NESBITT:** -- and three, yeah, a flat  
6 three for electricity, and I don't know what propane  
7 was, although it was higher than the one, I believe.  
8 Although the reality is the western grid, California is  
9 probably 1.05, 3.4; nationally, it's probably 3.4. The  
10 reality is most of our electrical generation in the  
11 world is fossil fuels.

12                               So you didn't present it in what you did,  
13 but it looks like source energy for natural gas is,  
14 one, going down a little based on biofuels. What's it  
15 roughly end up for electricity?

16                   **MR. PRICE:** Yeah, so as -- if you look at  
17 this chart -- so one Bt -- or one kilowatt hour of  
18 electricity is 34/12, I think. So if we want to  
19 pick -- pick on January at midnight, we're at 42/82.  
20 So what is that? That's like a 1.4-ish multiplier,  
21 4,200 divided by 3,400 is like whatever that -- you  
22 know, so it's a 1 in change. And then it's almost zero  
23 here, in the middle of the day.

24                               So -- so what this has got -- they didn't  
25 do it as SB100, right? So we're dramatically driving

1 down our electricity grid. But you're right; on the  
2 margin, we still have thermal. So it's not -- it's not  
3 zero source energy for electricity, but it's much lower  
4 than the numbers we were talking about for, like, a  
5 national average or something like that. We're at,  
6 like, one and -- one and a half at most.

7 **MR. MCALLISTER:** Right.

8 **MR. NESBITT:** Yeah. It would -- it would  
9 be nice to see it in a form that gave you a sense of  
10 what it is.

11 **MR. PRICE:** Yeah, it --

12 **MR. NESBITT:** I mean, you know, it's  
13 pretty pictures and nice colors, and all.

14 **MR. PRICE:** We could have divided those  
15 through -- we could have divided those through by 34/12  
16 and made it a lot easier for folks.

17 **MR. MCALLISTER:** John?

18 **MR. MCCUE:** John McCue (phonetic). So  
19 I've -- I've got a question about the T&D, you know,  
20 the allocation -- maybe you could go over to that  
21 slide. It would probably be kind of worthwhile.

22 The thing I'm trying to understand -- I  
23 understand how -- where you get your capacity charge,  
24 et cetera. I was thinking more if it showed the hour  
25 of the day or something like that.



1                   **MR. PRICE:** Oh, that shows the evolution  
2 by hour --

3                   **MR. MCCUE:** Yeah.

4                   **MR. PRICE:** -- and month over time. And  
5 then we have this chart --

6                   **MR. MCCUE:** Yeah.

7                   **MR. PRICE:** -- that shows -- like, this  
8 is the average across the year.

9                   **MR. MCCUE:** Right.

10                  **MR. PRICE:** So it could happen at  
11 different days or different times, but --

12                  **MR. MCCUE:** Sure. Yeah, I -- in any  
13 case, the thing that's kind of interesting to me is  
14 that, you know, it's reflecting that there's more solar  
15 on the grid, et cetera, but -- you know, when I think  
16 of T&D, I think of powerlines --

17                  **MR. MCALLISTER:** Uh-huh.

18                  **MR. MCCUE:** -- and transmission lines, et  
19 cetera. And now, with all the solar that's, you know,  
20 located in different places, and that the loads are  
21 still, you know, higher in the middle of the day, when  
22 we add a -- you know, an incremental building --  
23 because this is what this is about. It's the  
24 incremental -- you know, how do we allocate costs  
25 towards T&D? When we add an additional building, et

1 cetera, isn't the thing that's driving it is my  
2 capacity and my lines, and -- and aren't those still  
3 kind of in the middle of the day? Or is this actually  
4 reflecting that there's all this investment in  
5 batteries right now and things to shift it? So I'm  
6 just trying to understand, why is it not necessarily  
7 near the actual peak flow of electricity?

8 **MR. PRICE:** We have a lot of distributed  
9 solar that we're expecting because of rooftop mandate,  
10 what have you. So like, we're not expecting to drive  
11 new T&D peaks in the middle of the day. Our evening  
12 peak tends to be higher, you know, starting at about 4  
13 o'clock anyway, just a natural. The thing that could  
14 mitigate this is if we did do a ton of embedded storage  
15 at the end use, right? Which we don't have  
16 assumptions --

17 **MR. MCCUE:** Right.

18 **MR. PRICE:** -- of. So we have solar, you  
19 know, located with our loads. But we don't necessarily  
20 have storage because of the cost. So you know, maybe  
21 we come back and find -- maybe, you know, the -- the  
22 batteries in the garage take off and we can shift this  
23 thing around. And then the T&D capacity bar would  
24 probably look more like the generation capacity bar  
25 that's on here, which is sort of spread out a little

1 more, and -- and muted more.

2 But that's, you know, that's what's  
3 happening underneath this thing is that we've got  
4 higher loads in the -- this timeframe. You know, you  
5 see seventeen is -- is -- you know, sixteen hours,  
6 sixteen, seventeen. It really starts to kick up. Our  
7 solar is no longer helpful in this meeting the T&D  
8 peak, and we get this giant ramp. So -- so that's  
9 what's happening with that.

10 **MR. MCCUE:** The other question I have is,  
11 in terms of your model, looking forward, you know,  
12 the -- was it -- the water control board has this, you  
13 know, order out for -- and I know there's recently some  
14 interesting things going on. But you know, there's  
15 something like 20,000 -- yeah, 20,000 megawatts of  
16 generation that has to comply, one way or the other,  
17 and I'm assuming that some fraction of that's going to  
18 be discontinued, potentially. Some fraction of that's  
19 going to be replaced with, you know, combustion  
20 turbines, things that are more variable. So just kind  
21 of wondering how -- how you kind of look at that.

22 **MR. PRICE:** Yeah. So I think what you're  
23 talking about is the planned retirement for our once-  
24 through cooling power plants which are kind of up and  
25 down the California coast. And we factored those into

1 our capacity development model. We didn't have time to  
2 talk on it, so I jumped to the appendix slide.

3 And you're absolutely right that that  
4 drives a capacity need for generation capacity, even as  
5 early as 2022. We're talking about shutting down  
6 Diablo 2, which is once-through cooling, and also  
7 nuclear, so that's a big chunk of capacity. So behind  
8 the scenes for what you've seen is -- is our capacity  
9 value chart that looks something like this. And it's  
10 got high-capacity value in the near term.

11 When these codes kick in, there's a high-  
12 capacity value. The -- the thing is, though, that  
13 under our SB100 high-solar penetration, we end up  
14 adding a ton of storage for integration. And so that's  
15 an integrative device for our renewables. And we can  
16 also use it for capacity.

17 So in the long term, essentially, we --  
18 we have a short-term problem that gets resolved with  
19 our decarbonization strategy almost naturally. And  
20 then, you know, we kind of, overtime, are, you know,  
21 relying on our existing -- just keeping our existing  
22 fossil fleet for backup, essentially, as the cost  
23 that's driving capacity, once we get over that near-  
24 term need. So -- so that's what -- so this is the  
25 price behind that. And you're absolutely right that

1 we're seeing in this coming decade, and you know, even  
2 in the year that this code cycle that we're talking  
3 about take -- kicks in having a capacity need.

4 **MR. MCCUE:** Great. Thanks. And then,  
5 you know, I think what you're showing is that the value  
6 of -- of electricity produced in the middle of the day  
7 is -- is declining. And so in your model, is it --  
8 what -- why doesn't, for instance, wind actually is a  
9 decline in cost and the value of the -- of electricity  
10 in the middle of the day, just -- it -- it's just not  
11 enough to actually spur, you know, a mix -- you know,  
12 more of a mix of wind and solar?

13 **MR. PRICE:** Yeah. So it takes all the  
14 reasonable wind in California just right away. But  
15 over time, the combined cost of solar plus storage is  
16 beating our wind. Okay? So it just -- you know, it's  
17 just a head-to-head ruthless competition. And it's the  
18 least-cost planning.

19 And so solar plus storage looks like it's  
20 beating wind if you get into kind of any marginal cap  
21 factor or regime. I think maybe the wild card is the  
22 cost and feasibility of offshore wind. And I think  
23 that's an area of a lot of research. But you know,  
24 there's probably a lot of hearing room meetings like  
25 this before we get to new offshore wind off California.

1 So --

2 **MR. MCALLISTER:** And one last thing --  
3 you know, about twenty years ago when, you know, TDV  
4 was being first developed, you know, there was a --  
5 there was this same discussion about a fixed retail  
6 rate at or one that would, you know, essentially twist  
7 the dial and make it even more peaky than what TDV is  
8 currently. And the thing that I remember about this is  
9 that, you know, there was a concern that we'd actually  
10 start creating new peaks.

11 And you know, if you think about it, back  
12 then, you know, the -- you know, potential technology  
13 at the time -- the technology has changed because back  
14 when we were looking at this, our big concern was  
15 actually the middle of the day and we're worried about,  
16 you know, providing energy in the middle of the day.  
17 Now, it seems to be less of a -- an issue, right? But  
18 back then, you know, the technology at the time were,  
19 you know, essentially, electric resistance, water  
20 heating, and heat pumps, and basically creating spikes  
21 in the morning and in the late eve -- or you know,  
22 early evening.

23 So we might've actually ended up, you  
24 know, if we'd kind of taken that other route, we may  
25 have ended up with an even more sort of U-shaped load

1 curve than we do now. So I just thought I'd -- you  
2 know, just a little historical perspective and some --  
3 you know, times have changed. But you know, it's  
4 something to think about, being kind of cautious that  
5 we're not creating some kind of new peak like this.

6 **MR. MCCUE:** Thanks.

7 **MR. PRICE:** Thanks, John.

8 **MALE SPEAKER:** Thank you, John.

9 **MR. MCALLISTER:** So can I -- I just want  
10 to make another comment here. So I think there's a  
11 really valuable discussion that we should be having.  
12 We sort of are having it, but maybe not straight ahead  
13 which is what's the balance?

14 You know, all the energy efficiency  
15 advocates, myself included, we're all, like, afraid  
16 that, oh my gosh, if we focus too much on flexibility,  
17 and solar plus storage, and all this kind of stuff, and  
18 energy efficiency -- you know, oh, my gosh, it's  
19 devalued, and no one will invest in it, right? I don't  
20 think that's the case. But the incremental value, the  
21 temporal value of efficiency actually matters more and  
22 more.

23 So that's kind of a conversation that we  
24 need to have, is where do we come down? Like, how low?  
25 If we were going to have a time-dependent, you know,

1 retail adder, how low would it go in the middle of the  
2 day? How much would we still want to keep it  
3 worthwhile, in the Building Code context, to invest in  
4 energy efficiency, no matter what hour, you know,  
5 across the board, with lighting, eight-track, and all  
6 that stuff.

7 I guess, at the same time, we're -- when  
8 we get highly -- having just built one of these, I can  
9 speak with some authority on this, now. We've got a --  
10 well, if you built a passive house, you don't have a  
11 lot of load flexibility in some places, where before,  
12 you had it. Your heating loads go down. Your heat  
13 pump, when it comes on -- which isn't often -- it comes  
14 on -- it's small so it's not a lot of manipulable [sic]  
15 load, and it comes on for hours at a time because it  
16 just takes it that long to recover the couple of  
17 degrees that it lost, you know, of internal  
18 temperature.

19 And so you're, in a way -- so we need to  
20 quantify these things, like how much, you know,  
21 efficiency, how much flexibility? You know, if you're  
22 in the Midwest and you've got a whole bunch of  
23 electric-resistance water heaters, you've got a massive  
24 dump load, and you've got a massive, you know, flexible  
25 load more across the board.



1                   And so that's not our future in  
2 California. We're not going to put that in. We're  
3 going to put in a bunch of heat pumps -- heat pump  
4 water heaters that may not as be -- be as flexible as  
5 we're thinking they might. You know, but they are.

6                   So anyway, I think the time value of  
7 efficiency and flexibility is something we really need  
8 to dig into to understand where we're going. And I  
9 actually -- I kind of want to come down. My guts  
10 telling me that we do want some time dependence on the  
11 retail adder. But the details matter, right? So  
12 anyway. Like, I -- I'm -- I -- I'm going to encourage  
13 us to keep that thread alive and try to inform it.

14                   **MR. SHIRAKH:** Yeah. So -- and it does  
15 sound like, you know, this is a topic of interest. I'm  
16 sorry, Snu, but you're outnumbered on this one.

17                   **MR. PRICE:** No, no, I clearly -- I can  
18 read the room, too.

19                   **MR. SHIRAKH:** So I think we should have  
20 a -- I suggest having a discussion --

21                   **MR. PRICE:** Sure.

22                   **MR. SHIRAKH:** -- after this  
23 (indiscernible).

24                   **MR. PRICE:** No, absolutely. Clearly, we  
25 should. Can I add one more datapoint to your comment?

1 Which is that, actually, Brian Conlon here has done a  
2 lot of analysis on the daytime cooling.

3 So you know, for residential, if you run  
4 your air conditioner during the day, you'll have some  
5 losses through the thermal envelope and you'll actually  
6 use more energy. But if you value it, even in the 2019  
7 TDVs, you get this huge TDV value, you know, because  
8 you can ride through the evening.

9 And so it's like -- and think about all  
10 the air conditioning in California. What a peak  
11 capacity resource that could be if we could just do  
12 daytime cool -- run our air conditioning during the day  
13 and then it's just comfortable in your house all day  
14 and you let it drift in the evening.

15 So it's -- to me, it's a very big  
16 question. It's efficiency versus timing. And in that  
17 example, I have negative efficiency, using a little bit  
18 more, but it's low-cost energy and I can really save a  
19 lot of capital in the evening. So it's --

20 **MR. MCALLISTER:** Well --

21 **MR. PRICE:** -- kind of an interesting --

22 **MR. MCALLISTER:** Well, I mean, so --

23 another spin --

24 **MR. PRICE:** Yeah.

25 **MR. MCALLISTER:** -- on that, if we're

1 going to -- we're also trying to focus on equity,  
2 right?

3 **MR. PRICE:** Yeah.

4 **MR. MCALLISTER:** So if we have a whole  
5 bunch of low-income houses that are inefficient that  
6 don't have the ability to ride-out hours because they  
7 don't hold heat or hold cool --

8 **MR. PRICE:** Um-hum.

9 **MR. MCALLISTER:** -- so let's invest  
10 heavily in insulation, and performance, and ceiling of  
11 those building shells, right --

12 **MALE SPEAKER:** Yeah.

13 **MR. MCALLISTER:** -- windows, whatever.  
14 And then we -- if they're getting their HVAC  
15 replacement, I mean, we downsize the HVAC, right? And  
16 then we have the ability to ride through and do demand  
17 flexibility -- or do anticipatory demand, as you're  
18 talking about, you know, demand response of  
19 flexibility --

20 **MALE SPEAKER:** Yeah.

21 **MR. MCALLISTER:** -- whatever we're going  
22 to call it. So I mean, I do feel like the -- we need  
23 to get creative on program approaches and then quantify  
24 how much money it's going to cost. Like, you know,  
25 how -- it's going to cost a lot of money to retrofit,

1 you know, a third of the buildings in the state, if  
2 that's what we're going to do for low-income. So we  
3 really have to sharpen our pencils.

4 **MR. SHIRAKH:** Go ahead, please.

5 **MS. GOLDEN:** Thanks. Hi, I'm Rachel  
6 Golden with the Sierra Club. Thanks so much to E3 and  
7 the CEC staff. I've found this presentation to be  
8 really helpful and really appreciate the updates you've  
9 done to the metrics and also introducing new metrics,  
10 so it feels like a very positive step. So thank you  
11 for that.

12 And I do agree with a lot of the comments  
13 made already by Charles, Pierre, Ted, and others. So  
14 in interest of time, I'm not going to, you know, repeat  
15 all those comments, but just mark me as a plus one, and  
16 I'll fill those out in my written comments. I do have  
17 a few questions that would just help me as I prepare to  
18 write written comments on this workshop.

19 The first is I'm thinking about hotter  
20 climate zones that are going to have cooling loads and  
21 are going to necessitate air conditioning. And in your  
22 assumption on GHC emissions from refrigerants,  
23 presumably, if you install a heat pump space heater,  
24 that is also going to provide cooling. So I'm  
25 wondering if that is included in your model, if there's

1 other -- any sort of double counting there on the  
2 refrigerant side.

3 **MR. PRICE:** Yeah, so the difference in  
4 leakage rates between heat pumps and air conditioners  
5 is included. It's very slight. Yeah, there's -- I  
6 mean, yeah -- yeah, so the leakage from air  
7 conditioners is included, too, if that's your question.  
8 Is that your question or what?

9 **MS. GOLDEN:** Sorry. My question is,  
10 for -- in those -- in homes in those hotter climates --

11 **MR. PRICE:** Um-hum.

12 **MS. GOLDEN:** -- I'm assuming that the  
13 household would have a heat pump space heater that does  
14 both the heating and --

15 **MR. PRICE:** Yeah, yeah.

16 **MS. GOLDEN:** -- the cooling.

17 **MR. PRICE:** That's right.

18 **MS. GOLDEN:** So I just wanted to make  
19 sure that you weren't counting both --

20 **MR. PRICE:** Oh, no.

21 **MS. GOLDEN:** -- refrigerants from A/C and  
22 then a separate unit for heating.

23 **MR. PRICE:** Yeah, no, it's one heat pump  
24 that does both --

25 **MS. GOLDEN:** Okay.

1                   **MR. PRICE:** -- heating and cooling.

2                   That's right.

3                   **MS. GOLDEN:** Great, okay.

4                   **MR. PRICE:** So you can see just the  
5                   chart -- this is just one example for one climate zone,  
6                   but the hashed tier is the refrigerant leakage for the  
7                   all-electric home. But the mixed-fuel home has an air  
8                   conditioner. And so that's the hashed area here on the  
9                   mixed-fuel home. So there -- it's not double counting,  
10                  but it's accounting for both -- you know, both sides of  
11                  the ledger.

12                  **MS. GOLDEN:** Okay. Thanks. That makes  
13                  sense. And then, you were saying earlier that the  
14                  refrigerants is based on the lifetime of one appliance?

15                  **MR. PRICE:** Of the equipment, yeah.

16                  **MS. GOLDEN:** Of the equipment. So I'm  
17                  wondering, since these buildings are going to last  
18                  thirty years or more, do you assume lower global  
19                  warming potential equipment with time due to sort of  
20                  market development and increased standards for  
21                  refrigerants?

22                  **MR. PRICE:** Yeah. So in the baseline,  
23                  we're just assuming refrigerants that are available  
24                  today. And then, building designers will have the  
25                  option to -- if they want to design a building that

1 will use a lower GWP using equipment that can reflect  
2 that --

3 **MS. GOLDEN:** And then get a credit or --

4 **MR. PRICE:** -- and then get a credit for  
5 that.

6 **MS. GOLDEN:** Great. Okay. And then, one  
7 comment on the leakage, I was in the IEPR, Building  
8 Decarb Efficiency Workshop in this room a few months  
9 ago and there was a great presentation on behind-the-  
10 meter leakage. And the presenter talked about leakage  
11 rates in restaurants being around one percent behind  
12 the meter. So I was wondering if --

13 **MR. PRICE:** Um-hum.

14 **MS. GOLDEN:** -- you looked at that study  
15 and if that's included in your --

16 **MR. PRICE:** That'd be --

17 **MS. GOLDEN:** -- literature review.

18 **MR. PRICE:** That'd be great if you could  
19 send us that study. I haven't seen that.

20 **MS. GOLDEN:** Okay, great. And then just  
21 sort of on the topic of methane leakage and aligning  
22 with carb, I understand the need to align with  
23 different state agencies, but my -- you know, my  
24 preference is that we really align with climate  
25 science. And if some agencies are slower to come

1 around, I think that, you know, it's the role of E3 and  
2 the CEC to really lead here. And I trust carb will  
3 come around and start to use a lower time horizon for  
4 methane.

5 But I don't think that we should just  
6 base our numbers because carb -- that's what carb is  
7 doing. Like, I want us to be aligning with -- with  
8 climate science directly.

9 And then, on that note, you know, I  
10 understand there's a really large range in these  
11 leakage rates. We've looked at these, too, you know,  
12 from the Howarth studies that are extremely high, to  
13 some of these. And you know, what we're really talking  
14 about here is a climate crisis. And I don't think --  
15 you know, if we use a bit higher of an -- of a  
16 percentage rate for leakage, I don't think come 2030 or  
17 2045 we're going to be like, dang, this equipment  
18 didn't leak as much as I thought it was going to. You  
19 know, it's more the opposite is true.

20 So I just think that we need to be  
21 careful in our assumptions. And then, maybe we assume  
22 a slightly higher leakage rate because we know that's  
23 very possible and the literature shows that because,  
24 you know, when it comes to climate change, we need to  
25 get this right. And it's better that we assume a bit



1 higher than a bit less in terms of, like, the tipping  
2 point for climate change. So I would just encourage us  
3 to think about that, instead of always being extremely  
4 conservative in sort of an academic research approach.

5 And on RNG, I do have concerns about the  
6 supply assumption in the pipeline. But at a higher --  
7 and I'll put that into my comments -- but at a higher  
8 level, I'm curious, Snu, you said earlier how industry  
9 is a lot harder to decarbonize. And I assume that  
10 means we're willing to use a lot more RNG for  
11 industry --

12 **MR. PRICE:** Right.

13 **MS. GOLDEN:** -- instead of for buildings.  
14 So out of the total RNG supply that you're assuming we  
15 have in California, what percent are you assuming is  
16 going to go for buildings? So you noted if -- you  
17 know, a certain percent in the pipelines. What does  
18 that --

19 **MR. PRICE:** Yeah.

20 **MS. GOLDEN:** -- leave for industry?

21 **MR. PRICE:** Yeah. So the way our model  
22 works, it is allocating our available supplies. So if  
23 we put more in the pipeline, that means we do have less  
24 for industry. What it does -- and I don't have the  
25 specific number of, like -- on hand. I'm trying to

1 find the slide while I talk here. Hold on.

2 But we start to do -- we do less,  
3 basically, in industry, and more in the pipeline, under  
4 this scenario. But you know, we also have some  
5 electrification opportunities in industry. And we have  
6 other opportunities in transportation, what have you.

7 So we push -- because we're doing this  
8 and putting some of our buyout fuel into the pipeline,  
9 we're pushing up costs in other sectors, or reducing a  
10 level of ambition in terms of total reductions.  
11 Absolutely. So if that's the effect that you're  
12 wondering whether it's going on --

13 **MS. GOLDEN:** Yeah.

14 **MR. PRICE:** -- yes, it is. The degree to  
15 which this matters, I could, you know, put that in your  
16 comments and we can dig that up --

17 **MS. GOLDEN:** Okay.

18 **MR. PRICE:** -- out of our modeling.

19 **MS. GOLDEN:** Great. I do think we want  
20 to sort of look into those percents a bit more in terms  
21 of --

22 **MR. PRICE:** Um-hum.

23 **MS. GOLDEN:** -- what the larger economy-  
24 wide effects are. And then, lastly, on the source  
25 energy metric, very encouraged to see that. And I'm

1 just curious how this is going to be used, if it will  
2 be used as a compliance metric to comply with the code,  
3 or more just sort of as a credit. And I would  
4 definitely encourage us to be using this as a  
5 compliance metric.

6 **MR. TAM:** I'm going to be talking about  
7 that next presentation.

8 **MS. GOLDEN:** Okay, great. Thanks very  
9 much.

10 **MR. MCALLISTER:** I also want to point out  
11 that SB-49 became law a couple of weeks ago. And  
12 that's the Skinner bill that extends this load  
13 flexibility authority to our appliance efficiency  
14 standards. So we will, at some point, be moving  
15 forward with some kind of -- I mean, this -- part of  
16 the reason I'm digging into this time valuation, you  
17 know, issue is that we need to show some hysteresis.  
18 We need to show some reason, some value that gets  
19 generated by this flexibility, otherwise, we can't show  
20 cost effectiveness and we can't do anything with the  
21 regulations --

22 **MR. PRICE:** Yeah.

23 **MR. MCALLISTER:** -- you know, the way  
24 that we have. So you know, on the building, on the new  
25 buildings, and on the appliances, we -- yeah, it starts

1 to kind of add up to some capacity that we could  
2 actually marshal if we could show cost effectiveness.  
3 But we have to have the right metrics to be able to do  
4 that.

5 So go to Nehemiah?

6 **MR. STONE:** Nehemiah Stone, Stone Energy  
7 Associates. First, I want to thank you -- all of you,  
8 for this. This is an extremely valuable workshop. I  
9 had two questions. One, to what extent have you -- in  
10 the value of the T&D that you put in here, have you  
11 included the prospective costs that the utilities are  
12 going to have incur to make their systems more  
13 resilient?

14 **MR. PRICE:** Um-hum.

15 **MR. STONE:** In addition to, you know, the  
16 fires that have been blamed on PG&E's line, a recent  
17 fire was just blamed on Edison's line. So they're all  
18 going to have to invest a lot more in making the T&D  
19 resilient. Have you included those additional costs?

20 **MR. PRICE:** No, we haven't. And nor do  
21 we know what they are. So you know, I think that that  
22 is -- and I tried to say that there's, like, this  
23 uncertainty about this piece of it and how -- how -- I  
24 don't think we know yet what our -- how we're going to  
25 deal with our new resiliency, you know, needs, you

1 know, given the safety shutoffs recently, and how --  
2 you know, I imagine that's going to trigger a lot of  
3 conversation about what can we do better and how much  
4 will that cost? But we don't have that included into  
5 this.

6 **MR. STONE:** Well, I recommend that some  
7 cost is better than zero cost there because there will  
8 be a cost. And so it ought to be included. And even  
9 if you just take a really conservative approach to the  
10 cost, there should be -- that should be included.

11 The second thing is probably more for  
12 you, Commissioner, than -- in the past couple decades,  
13 our healthcare costs in the United States have risen a  
14 lot more sharply than our electric -- our energy costs  
15 or our housing costs. And a recent study has shown  
16 a -- has given a cost per KWH avoided healthcare cost  
17 per KWH avoided that in California, it's reasonably low  
18 because of our -- of the cleanliness of our green, but  
19 it still ranged between .9 cents per KWH and 1.8 cents  
20 per KWH. Nationally, it's more between two and three.

21 I'm wondering at what point when we do  
22 the TDVs do we start including this other societal  
23 cost? The -- you know, and I would imagine that for  
24 natural gas the health costs are even higher because  
25 cooking with natural gas produces NOx in the kitchen

1 which rivals the NOx levels in the worst days in L.A.'s  
2 air. So at what point do we want to start including  
3 the societal costs of health benefits?

4 **MR. MCALLISTER:** Yeah, I'm all for it.  
5 We brought this up earlier through the course of a  
6 number of IEPR workshops. And actually, I -- in the --  
7 in another study that E3 did, they started to quantify  
8 these costs in a kind of episodic way, I think, looking  
9 at particular events.

10 But I've been talking with ARB and others  
11 about how we might actually get some data, you know,  
12 kind of deal with Kaiser or one of the big providers to  
13 actually show, you know, like, when you retrofit  
14 specific populations, what are the health outcomes, you  
15 know, the improved health outcomes that you can  
16 actually get, and measure, and try to put some numbers  
17 to this. I think that's hugely valuable. And there  
18 are probably a lot of pathways to get to some credible  
19 numbers at some level, like, at least an aggregate.

20 But I think, you know, the more we can  
21 look at this to actually quantify those numbers, the  
22 better. And then we, you know, have the condition to  
23 be able to include it in the actual --

24 **MR. STONE:** Um-hum.

25 **MR. MCALLISTER:** -- you know, as a wedge

1 in there.

2 **MR. STONE:** Um-hum, thank you.

3 **MR. PRICE:** Yeah. And can I just --

4 **MR. MCALLISTER:** Yeah, please.

5 **MR. PRICE:** -- chime in on that last  
6 piece? So you know, I think that -- well, I guess,  
7 first, just so the whole room knows what we're looking  
8 at here, this is really driven a allocation of  
9 customers' electric bills. So what we've got in our  
10 cost-effectiveness framework here is are we mandating  
11 building features that will pay off, given the utility  
12 bills over time, best we project?

13 So that's been the way that -- when we  
14 started working on this at E3 in, like, 1989, 2000,  
15 there had been years of precedent for that's the view,  
16 and we've kept that. And I think if you go back and  
17 look at the statute -- and there's some experts in the  
18 room -- I think it just says cost effectiveness. So I  
19 think that there is a little bit of room to reconsider.

20 But we do have, I would say, forty, fifty  
21 years of precedent of looking at it from a -- okay, I'm  
22 going to make you put in that, you know, window because  
23 it saves energy and it's justified based on your change  
24 in bills. So that's what we have. And that's where we  
25 are.

1                   **MR. STONE:** Well, in that context,  
2 perhaps I should be talking to the PUC, then, about it.  
3 That's charging the utilities for (indiscernible) costs  
4 in California.

5                   **MR. MCALLISTER:** Well, it -- also, I  
6 mean, if we're really focused on equity, I mean, if  
7 we're really trying to figure out all the ways we can  
8 bring resources to, you know, the folks who cannot  
9 afford to be doing these things, then the avoided  
10 healthcare costs could be a significant leverage point  
11 to bring capital to that, right?

12                   And it's sort of like a -- you know, we  
13 have airports, right? You know, they have these  
14 programs to retrofit buildings around airports and it's  
15 about noise abatement, right? But it's a similar kind  
16 of idea.

17                   We can have -- there's actually  
18 generation of social value and you know, land use value  
19 and all that by improving the built environment. So  
20 let's look for -- let's be creative, right? That's  
21 what we need to do.

22                   **MR. NESBITT:** George Nesbitt. So I think  
23 we pretty much know where we need to be by 2050 and  
24 that's a dramatic reduction of fossil fuel consumption.  
25 And of course, electrification's part of that. But one



1 of the dilemmas with electrification is we're also  
2 talking about electrifying not just buildings, but  
3 transportation, parts of industrial sector.

4 So we're talking about adding more  
5 electrical consumption. And then we have goals for  
6 renewable energy or carbon-free. But we want to use  
7 more electricity which means more renewables or carbon-  
8 free.

9 So I think -- couple things, we need to  
10 think about the decisions we make today and the  
11 buildings we build and how they support the 2050. We  
12 may not be able to build those buildings exactly today,  
13 although technically, we can. So how do our decisions  
14 support that? But efficiency just plays an absolute  
15 role because we need to reduce the amount of energy we  
16 consume for what we need to consume it for in order to  
17 make room to electrify, and you know, whether it's  
18 passive house or whatever, a building that doesn't need  
19 a lot of energy.

20 But then, we also need the flexibility.  
21 So perhaps the heat pump water heaters, since we have  
22 an excess of PV, and we're over-reliant on it, and  
23 that's as cheap as batteries will get -- that doesn't  
24 mean it's a good idea -- we have to change when we use  
25 energy.

1                   So we need to maybe think about heat pump  
2 water heaters. They usually have an electric-resistant  
3 element. So perhaps when we have excess PV, it should  
4 run in electric-only mode and run in heat pump mode.  
5 We could do the same thing with heating equipment, the  
6 heating side, not the cooling side. But so use as  
7 little as possible, and perhaps maybe we'll have to be  
8 less efficient in order to provide the flexibility and  
9 reliability and all that.

10                   **MR. SHIRAKH:** Any questions online, Peter  
11 (phonetic)?

12                   **MR. STRAIT:** Yes, I was just about to get  
13 to those. I'm just going to read them in the order  
14 that we've received them.

15                   The first is from Michael Thompson  
16 (phonetic). Michael Thompson asks, how accurate do you  
17 believe your refrigerant leakage rate for existing  
18 homes and buildings is, given the code compliance is so  
19 low. And have you estimated how much leakage would be  
20 reduced by ninety percent compliance as projected by  
21 the CEC?

22                   **MR. PRICE:** Yeah, so the leakage rates  
23 are what's estimated by the ARB, as far as what  
24 actually happens, not assuming, like, whether people  
25 are compliant with the code or not. It's based on

1 actual observations. And so I think the idea is that  
2 we're using in the baseline what the current practices  
3 are, and then if there can be better practices that can  
4 be reflected in this framework.

5 **MR. STRAIT:** Sure. Dan Johnson  
6 (phonetic) had a comment of I support Pierre Delforge's  
7 critical comments about the arbitrary retail adder as  
8 dampening the price signal doesn't reflect even current  
9 3-to-1 TOU pricing. RNG assumption is overly  
10 optimistic in terms of supply, use twenty-year GWP for  
11 refrigerants. It's game over in three years if we  
12 don't turn this thing around right now.

13 And then, last comment was just asking  
14 who was speaking, which is a little out of date.

15 Oh, there was one comment from earlier.  
16 I'm not sure if this got asked, about the format the  
17 weather files would be in. Did we answer that one?

18 **MR. SHIRAKH:** Yes.

19 **MR. STRAIT:** Okay, good. That was in two  
20 different windows. So thank you.

21 **MR. SHIRAKH:** Okay. So we -- the other  
22 thing that we're going to -- well, actually, we're  
23 right on time. We're going to move to the your  
24 presentation -- the EDR.

25 But Snu, I'm going to ask you to sit up

1 here because --

2 **MR. PRICE:** Okay.

3 **MR. SHIRAKH:** -- this kind of builds on  
4 your --

5 (Pause)

6 So this is Mazi Shirakh again. I'm going  
7 to attempt to describe how to -- the two-EDR system  
8 works to align us with the building decarbonization  
9 codes. And as we bid farewell to Z&E and refocus our  
10 attention on building decarbonization, you know, we had  
11 our certain goals and objectives, you know, we need to  
12 meet.

13 And one of them, the foremost is  
14 encourage building decarbonization by removing various  
15 to building electrification. There are several  
16 vehicles, you know, we can have at our disposal to do  
17 that.

18 Second is maintain and encourage thermal-  
19 resilient building envelope features that perform well,  
20 both in cooling and heating climate zones, even as the  
21 planet warms up. The third one is encourage self-  
22 utilization of on-site PV generation and demand-  
23 responsive measures. This is basically a simple way of  
24 saying maintaining strong demand response signals; not  
25 increasing the stringency of the residential low-rise

1 for one code cycle.

2 And the fifth one was to avoid-preemption  
3 issues. So this took several months and you know, the  
4 staff, and the team, the consultants, the utilities,  
5 you know, we kept thinking, you know, what is the one  
6 magic metric that's going to allow us to meet all the  
7 goals and objectives that I outlined here.

8 So we had a pretty good idea what TDV  
9 looks like, but then we knew that TDV by itself is not  
10 going to do the job. So we started thinking about  
11 other metrics such as sourced energy and GHG metrics  
12 and a combination of some of these metrics. And some  
13 of them are outlined here.

14 There's nineteen different options here.  
15 I'm not going to go through each and every single one  
16 of them. It's just to say that there are -- there were  
17 cost metrics here that usually include a TDV.

18 We had energy metrics. That's source  
19 energy. We have GHG metrics that are here. And then  
20 we had metrics that were sort of combined, like metric  
21 14 and 15 were -- we attempted to get the source energy  
22 and add features from TDV to it, like capacity, hoping  
23 that, you know, it will give us the shape that we want  
24 for both decarbonization and maintaining, you know,  
25 resilient building envelope and demand signal. And

1 each and every one of them had an issue with them.

2 And then towards the end, you know, you  
3 see this two-step descriptions here. And each one of  
4 these made -- like, source energy, there was, like,  
5 four different flavors of them.

6 So you know, we looked at every one in  
7 long term, short term, average. And you know, we kind  
8 of kept going through to see which one might do that.  
9 And the combined metric, like 14 and 15 again, was an  
10 attempt to try to accomplish that. And that also fell  
11 short. And the two-step ones here are the ones that  
12 kind of pointed us towards the one where you ended up  
13 as a two EDR system.

14 So to select the metric that would give  
15 us the right signal, we set ourselves these eight  
16 goals. One was to facilitate fuel switching and  
17 building electrification. Number two was support  
18 demand flexibility and grid harmonization strategies.  
19 Number three was protect the building envelope  
20 measures, such as high-performance attics and walls,  
21 and efficient windows. We didn't want the buildings to  
22 end up with features that might save carbon but also  
23 increase the operating costs of the building, such  
24 as -- you know, an example is resistance heating for  
25 water heating, not increase the energy cost of the

1 building for the occupants.

2           Number six was the result in long-term  
3 and sustainable GHG reduction in buildings by  
4 supporting items one through five above. We also  
5 wanted to avoid the federal pre-emption issues, which  
6 was associated with some of the GHG measures. You  
7 know, we cannot use, directly, a GHG measure as a --  
8 for trade-offs. We could use source energy and the  
9 good thing is that the source energy, some of them  
10 actually track really well with the GHG metric.

11           And so we could use that as a proxy for a  
12 GHG metric. And that's actually the key point in our  
13 strategy. Instead of using a GHG, we can use a source  
14 energy and define a carbon budget -- or proxy carbon  
15 budget for the building.

16           And we also, at number eight, was trying  
17 to do all of the above without really have unusual  
18 limits -- trade-off limits in the software. For that  
19 exercise we went through a lot of different scenario  
20 analysis.

21           One example is here. You know, we had  
22 many, many more where we looked at fuel-switching  
23 signals. We looked at individual measures, like high-  
24 performance attics, high-performance walls. We had  
25 PVs -- standalone PVs plus storage, and on and on for

1 all sixteen climate zones.

2 And you know, across the top here are the  
3 different metrics. And these are climate zones that we  
4 looked at to see how these metrics would handle the  
5 different measures that, you know, we were interested  
6 in.

7 So the results were as following: For  
8 single metrics, we could not find a single metric that  
9 emerged as a satisfactory option for this. Out of all  
10 that list and everything that we saw, there were none  
11 of them. And the problem is, you know, a metric that  
12 is really good at reducing carbon was not good at  
13 protecting the building envelope or maintaining DR  
14 signal -- and vice versa.

15 So the second choice that we had was the  
16 combined metrics like 14 and 15. This is where we took  
17 the source energy and we had it -- some elements of  
18 TDV, like the capacity factor. And again, the same  
19 thing. You know, it was a compromise between the two.  
20 And you know, it didn't give us a satisfactory answer  
21 for either decarbonization or maintaining. So it was  
22 like they both get diluted.

23 So what we came up with is what we call  
24 the do -- two EDR approach. So it's two independent  
25 metrics. EDR1 uses the source energy. And EDR2 uses



1 TDV.

2 So the hourly source energy, again,  
3 establish a carbon proxy budget for the building. The  
4 units are KBTU per square foot per year. And think of  
5 it as establishing a carbon budget for the building.  
6 And the one way you can do that is you start with your  
7 baseline building, like your 2019 standards, and see  
8 what the budget is.

9 And then we can slip end uses from  
10 natural gas to electricity. And this metric will  
11 define that budget. So when the builder builds the  
12 building, they must operate within the confines of  
13 EDR1.

14 EDR2 is the TDV base that Snu just  
15 introduced for 2022 with natural gas. And so what the  
16 TDV2 does is basically -- it protects the envelope and  
17 it maintains the demand response signals. But the key  
18 to this is that EDR1 and EDR2, they must operate  
19 independently -- in other words, no trade-offs between  
20 EDR1 and EDR2. You cannot put a better high-  
21 performance attic and compromise the carbon budget or  
22 vice versa.

23 So that's the key. The building must  
24 meet both EDR1 and EDR2 independently. So I'm not  
25 going to talk about time dependent valuation or hourly

1 source energy. I think Snu did a good job.

2           So this table kind of summarizes this  
3 approach. In this column, you got the metric, the  
4 hourly source energy. What is it good at? It's very  
5 good at promoting electrification and efficient use of  
6 gas appliances and fuel switching. But it's not good  
7 at just protecting the envelope, such as high-  
8 performance attics, walls, efficient windows, low  
9 leakage envelope, and it has a weak grid harmonization  
10 signal.

11           TDV, on the other hand, is good at  
12 protecting the envelope and grid harmonization, but  
13 it's not good at encouraging electrification. When you  
14 put them both together, you actually have the best of  
15 both worlds. You can't have your cake and eat it, too.

16           So the recommended approach is for 2022  
17 this cycle -- and I think this is what Charles was  
18 talking about -- having separate gas and electric  
19 baseline for this cycle, one baseline for mixed-fuel  
20 homes; one based on all-electric homes. We did this in  
21 the 2019 standards because under the 2019 TDVs, gas  
22 appliances are performing better than electric. So by  
23 separating the baselines, we basically remove the  
24 disadvantage for all-electric buildings. So this was a  
25 step in the right direction where, you know, we

1 basically allowed the builders to build an all-electric  
2 package without having to compete with gas.

3 Now, the good news is actually under the  
4 2022, you know, the TDV for electricity is actually  
5 lower than gas. So now we have potentially both EDR1  
6 and EDR2 aligning, pointing both towards the same  
7 outcome. But for this cycle, 2022, we're going to stay  
8 with the two-baseline approach.

9 And then, we have EDR2 which is -- I'm  
10 sorry -- the EDR -- we started with two baseline:  
11 EDR1, the carbon proxy; and EDR2, TDV. No trade-offs  
12 between EDR1 and 2. And again, EDR1 is designed to  
13 align with decarbonization goals when EDR2 maintains  
14 envelope resiliency and demand response. And what EDR2  
15 is actually is a very similar to the existing, you  
16 know, 2019 standards.

17 EDR -- we have EDR for efficiency, an EDR  
18 for PV and flexibility, and then a total EDR. So EDR2  
19 is all of those three parameters. And I'll show that  
20 in a later slide.

21 So beyond 2022 standards, we are going to  
22 move to a single baseline, as Charles was suggesting.  
23 And we're going to couple that again with a 2-EDR  
24 approach. And a single baseline, together with a EDR  
25 approach, establish a carbon budget by switching

1 natural gas end uses to heat pump, and then developing  
2 a carbon budget based on that.

3 This could be a space heater. It could  
4 be a heat pump water heater. Or we could be thinking  
5 about a clothes dryer that's switching from, you know,  
6 gas to electricity or cooking appliances, you know,  
7 going to, for instance, induction cooking. The good  
8 thing about this approach is that it could be either  
9 gradual or it could be sudden.

10 You know, we could, you know, start  
11 flipping end uses one at a time, or we can do them all  
12 at the same time. You know, we can -- we can decide  
13 that at the time. But it does give us that flexibility  
14 to dial in how much decarbonization we want for each  
15 cycle. And EDR1 ensures that there's no backsliding on  
16 carbon limits.

17 So again, you know, that hard stop that  
18 there's no trade-off. Once you establish that carbon  
19 cycle, you cannot backslide by doing things under TDV.  
20 And so I'm going to show a few slides on software and  
21 how it will change in 2020 to accomplish this.

22 And the good news was that the -- we  
23 didn't have to change the software dramatically. There  
24 are some changes, but you know, the interface will look  
25 pretty familiar.

1           So what I have here, this is the 2-EDR  
2 approach for CBECC grid. It says under the EDR tab,  
3 there are several tabs up here. So this is the middle  
4 tab here. So it says energy design rating. What I've  
5 outlined in the blue here on the right, this is the  
6 existing structure of the software, the tab under 2019.  
7 That's the efficiency EDR, PV/flexibility, and total.

8           So that is the same as what it is today.  
9 What we've added is this EDR one for standard design  
10 and proposed approach here. And if you notice, there's  
11 a line here between EDR1 and EDR2. And that's supposed  
12 to mean that, no trade-offs between these two.

13           So again, under the standard design, we  
14 will establish a carbon budget for this building. Your  
15 proposed budget must be equal or less. In this case,  
16 you know, this is a -- slightly less than that.

17           So you know, as we flip end uses, the  
18 standard design will go down. So the proposed design  
19 must match that accordingly. And the rest of it  
20 actually works the same as the 2019. You've got to  
21 have an efficiency EDR that's equal or less than that  
22 and then a total EDR that's equal or less than that.  
23 So that -- this piece of it is the same. We're adding  
24 this carbon budget.

25           And down here, there's obviously changes.

1 You know, anything that says an EDR1 is a new addition.  
2 So we have an EDR budget for both -- this is the  
3 reference design and this the proposed design. Under  
4 the energy use detail tab, where you actually get the  
5 individual measures and their contributions, you know,  
6 the same thing. You know, we added columns for EDR1.  
7 And the EDR2 is as it is today.

8 Same thing under the compliance summary  
9 tab. Previously, only these two columns appeared, both  
10 on the left and the right side. Now there's a source  
11 energy EDR1 column. And again, for a building to  
12 comply, it must pass all three of these, not just the  
13 two that we previously had.

14 Stole a slide from Wilcox. And I think  
15 that he's going to talk about this but the intention  
16 here is to show how the two EDRs work together to avoid  
17 the adverse consequences.

18 The first column here, that's the  
19 baseline. It's a 2019 mixed-fuel package. And so  
20 these are the -- basically they are used for reference.  
21 So for a building to pass, it must have a source energy  
22 score that's less than fifty-one and a total EDR that's  
23 less than thirty-four.

24 So I'm going to look at -- not describe  
25 all of them, but this one measure here, just Scenario

1 3. This is a mixed-fuel home where we removed the  
2 high-performance attics, and we removed the high-  
3 performance walls, and we added a condensing furnace.

4 So high-performance attic gone, high-  
5 performance walls. We are back to, I think, a 2013  
6 shell, basically. And we added a condensing furnace.  
7 What happens is this building still passes source  
8 energy EDR1. So that's why, you know, we say there's  
9 an adverse consequence here. But TDV will capture it.  
10 So the final outcome is a fail.

11 So the builder now must go in there and  
12 add other features to make sure that the -- the TDV  
13 also passes. And there's several other examples here  
14 and they're all kind of meant to show the same thing  
15 that had the two EDRs work together.

16 So that basically concludes my  
17 presentation. I'll be happy to take any questions.

18 **MR. MCALLISTER:** So how are we doing?  
19 What's the schedule say we're supposed to do for lunch?  
20 I imagine people --

21 **MR. SHIRAKH:** So --

22 **MR. MCALLISTER:** -- people's stomachs are  
23 rumbling here.

24 **MR. SHIRAKH:** -- we're supposed to break  
25 at 12:30. We've got about ten minutes.

1                   **MR. MCALLISTER:** Okay. So --

2                   **MALE SPEAKER:** I can't speak fast, but  
3 I'll speak short. Two questions. Why are you having  
4 the two baseline strategies only apply to low-rise  
5 buildings? Why not high-rise multi-family as well?

6                   **MR. SHIRAKH:** So high-rise multi-family  
7 will have -- we can switch that. The two baselines,  
8 it's supposed to be they're only for low-rise. Well,  
9 high-rise, non-res, all have two baselines for this  
10 cycle.

11                   **MALE SPEAKER:** Yeah, well, I mean, for  
12 this cycle, we have to have a conversation. I mean,  
13 for last cycle, we focused on single-family, low-rise  
14 multi-family. And so any modifications we made to  
15 that -- we make to that this cycle are going to be --  
16 we're going to try to minimize those because we asked a  
17 lot of that sector last round. But the conversation  
18 around multi-family and commercial, we have to -- we  
19 still have to have that. The intent is to -- well,  
20 yeah, we -- I don't want to presume how it's going to  
21 end up. Yeah.

22                   **MR. SHIRAKH:** Yeah, like I mean, again,  
23 the answer was, you know, we've been focusing on low-  
24 rise residential for the past several cycles. And so  
25 we're going to give it a break and start focusing on



1 non-residential buildings. And that was the reason  
2 why.

3 **MALE SPEAKER:** Well, what you just  
4 presented actually seems the opposite. I mean, you're  
5 focusing this big change on low-rise.

6 **MR. SHIRAKH:** No, no.

7 **MALE SPEAKER:** Okay.

8 **MR. SHIRAKH:** I think I -- no, again,  
9 well, in 2019, we went to --

10 **MALE SPEAKER:** Well, I under -- I know  
11 the --

12 **MR. SHIRAKH:** And we're going to --

13 **MALE SPEAKER:** -- history of that.

14 **MR. SHIRAKH:** We're going to stay course  
15 on that.

16 **MALE SPEAKER:** I was just going off of  
17 your slide. It said that applies to low-rise  
18 buildings. So --

19 **MR. SHIRAKH:** So maybe I --

20 **MALE SPEAKER:** Maybe we need a  
21 clarification of the definition of low-rise and high-  
22 rise (indiscernible).

23 **MALE SPEAKER:** Okay.

24 **FEMALE SPEAKER:** (Indiscernible) we'll  
25 talk about it.

1                   **MR. SHIRAKH:** Yeah, okay.

2                   **MALE SPEAKER:** Yeah.

3                   **FEMALE SPEAKER:** (Indiscernible) talk  
4 about it (indiscernible).

5                   **MALE SPEAKER:** Yeah, at the moment, we  
6 have two baselines for both sectors, right?

7                   **MR. SHIRAKH:** Yeah.

8                   **MALE SPEAKER:** So --

9                   **MALE SPEAKER:** No, (indiscernible).

10                  **MR. SHIRAKH:** No, no --

11                  **FEMALE SPEAKER:** Oh, okay. I'm --

12                  **MR. SHIRAKH:** -- (indiscernible). We  
13 have two baselines for low-rise.

14                  **MALE SPEAKER:** Oh, right. Okay, yeah.

15                  **MR. SHIRAKH:** And so what we're saying is  
16 we're going to keep that for one more cycle.

17                  **MALE SPEAKER:** Yeah.

18                  **MR. SHIRAKH:** Now, what we do with high-  
19 rise multi-family and non-res for 2022, we can't  
20 decide.

21                  **MALE SPEAKER:** Yeah, we've got to have  
22 that discussion.

23                  **MR. WILCOX:** And the --

24                  **MR. SHIRAKH:** Yeah.

25                  **MR. WILCOX:** And to make it clear, the

1 current 2022 research software does not have two  
2 baselines for high-rise res or comm, as far as I know.  
3 So in low-rise, it's all two baselines. And high rise,  
4 it's not there. So -- but that doesn't mean it won't  
5 change. This is all just --

6 **FEMALE SPEAKER:** Metric  
7 (indiscernible) --

8 **MR. WILCOX:** -- drafts.

9 **UNIDENTIFIED SPEAKER:** Hopefully, it will  
10 change because I'm --

11 **MR. MCALLISTER:** Yeah, right. We --  
12 we've not had that -- okay. So let me just clarify.  
13 So my bad. We have not had that conversation for  
14 commercial, high-rise multi-family that we had in the  
15 last cycle for low-rise and single-family. We will  
16 have that conversation and see where we end up. I'm  
17 not going to presume, if it ends up in a single or  
18 multiple.

19 **MALE SPEAKER:** Well, hopefully, that will  
20 change because I'm looking forward to a standard for  
21 multi-family buildings that applies to all multi-family  
22 buildings, regardless of the number of stories. Second  
23 question, well, it's not a question, it's a -- well,  
24 maybe it is a question. It -- the -- (indiscernible)  
25 back, the two EDR -- the, you know, proposal is

1 obviously more complex than what was -- what's in the  
2 2019 standards which is more complex than what was in  
3 the previous standards.

4 We already have a problem with  
5 compliance. And a lot of that, from my interviews with  
6 building departments, a lot of that results from  
7 building inspectors, plan checkers, throwing their  
8 hands up when it comes to multi-family and saying, you  
9 know, I just don't get this because you got two  
10 different things it has to go with.

11 Now, when we look at this, the additional  
12 effort, obviously, that's going to affect compliance  
13 even more. So I'd like to know if you've thought about  
14 having a relatively simple model checking software for  
15 building departments to use so they don't have to feel  
16 like their brain's going to explode looking at each  
17 individual compliance output.

18 And a part of it could be like your slide  
19 25. But then it would also have to list measures that  
20 get you there. But you know, a simple tool for them,  
21 so they don't have to try to understand the whole tool  
22 that the compliance experts do.

23 **MR. SHIRAKH:** Okay. We did think about  
24 that compliance issues. But you know, we are making a  
25 big change, so there is going to have to be some

1 changes here. And I -- this actually was more modest  
2 than some of the other alternatives.

3 **MALE SPEAKER:** Yeah, I'm not against any  
4 of the changes. I'm just saying --

5 **MR. SHIRAKH:** Yeah.

6 **MALE SPEAKER:** -- the -- to try and get  
7 greater compliance, let's make it a little easier on  
8 the building officials.

9 **MR. SHIRAKH:** I understand. And we'll  
10 work with you. Thank you.

11 Charles?

12 **MR. ELEY:** Thank you. I'm Charles Eley.  
13 I had some questions. You keep talking about EDR.  
14 Does that mean you're not planning on having the two  
15 separate metrics for non-residential?

16 **MR. SHIRAKH:** It's open to discussion.  
17 But I think we are going to have some -- a carbon  
18 metric and a TDV-type metric. It may not --

19 **MR. ELEY:** Well, why not? Why wouldn't  
20 you --

21 **MR. SHIRAKH:** -- be EDR.

22 **MR. ELEY:** -- do it -- do the same thing  
23 for both residential --

24 **MR. SHIRAKH:** We could.

25 **MR. ELEY:** -- and non-residential? I

1 don't see any reason why you wouldn't do that.

2 **MR. SHIRAKH:** We could.

3 **MR. ELEY:** And that's what we're doing in  
4 the zero (indiscernible).

5 **MR. PENNINGTON:** So pardon me for taking  
6 your space --

7 **MR. ELEY:** Oh, you'll -- I'll be all  
8 right.

9 **MR. PENNINGTON:** -- Charles.

10 So -- Bill Pennington. So sorry for the  
11 little confusion here. We definitely believe strongly  
12 in having a source energy metric and a TDV metric going  
13 forward. And we would apply that to all building  
14 types.

15 And so Mazi's presentation is kind of  
16 focused on EDRs and you know, we're not -- the question  
17 of whether we change to an EDR for non-res is kind  
18 of -- is still under discussion here. But in terms of  
19 baseline, we think that the best strategy is to go to a  
20 single baseline. And we think we should be doing that  
21 in the future. We need to do some cost effectiveness  
22 analysis here to try to figure out what our standard  
23 design might look like and how that would compare  
24 between fuel types.

25 And so we're kind of not -- we haven't

1 finished all that work. But definitely, we would be  
2 moving to having a HSC metric and a TDV metric. And  
3 whether we have only one baseline or two is sort of --  
4 we need more discussion about that.

5 **MR. MCALLISTER:** We ended up in the -- in  
6 the residential, we ended up with two because we wanted  
7 to create -- we couldn't check all those boxes that  
8 Bill just --

9 **MR. SHIRAKH:** Right.

10 **MR. MCALLISTER:** -- referred to. So  
11 we -- but we wanted to create a parallel path that if  
12 you want to build electric, you could. And that gave  
13 you a unique baseline.

14 **MR. ELEY:** Well, I --

15 **MR. MCALLISTER:** So maybe we end up the  
16 same where --

17 **MR. ELEY:** Yeah.

18 **MR. MCALLISTER:** -- the same way in the  
19 non-res. But I don't know. I'm not going to judge  
20 that right now.

21 **MR. ELEY:** Well, I strongly recommend  
22 that you use both metrics for all buildings --

23 **MR. SHIRAKH:** So again --

24 **MR. MCALLISTER:** So that is already  
25 happening.

1                   **MR. ELEY:** -- in the next version --

2                   **MR. MCALLISTER:** That will happen.

3                   **MR. ELEY:** -- (indiscernible) standard  
4 and not just go with low-rise residential. (

5                   **MR. MCALLISTER:** So there's a confusion  
6 here. One is between whether there's one or two  
7 baselines. And the other is --

8                   **MR. ELEY:** Well, yeah.

9                   **MR. MCALLISTER:** -- whether there's one  
10 or two EDRs. There will be two EDRs.

11                   **MR. ELEY:** Well, let's talk about the  
12 metric first, yeah.

13                   **MR. MCALLISTER:** Yeah.

14                   **MR. ELEY:** In terms of the baseline, I  
15 think, you know, moving to these dual metrics, I think,  
16 helps a lot, but not if we have a neutral baseline. I  
17 mean, you're not achieving anything if the baseline is  
18 neutral. So it's -- I don't get the point there.

19                   **MR. SHIRAKH:** Uh-huh.

20                   **MR. ELEY:** And the final thing, then I'll  
21 sit down, in -- there's a precedent for the double  
22 metrics. And in Standard 189, we have three metrics,  
23 actually.

24                   **MR. MCALLISTER:** Um-hum.

25                   **MR. ELEY:** We have costs, source energy,



1 and carbon. And maybe we're violating some rules by  
2 having a carbon metric. But it's been there since 2009  
3 and nobody's complained yet. So there you go.

4 **MR. SHIRAKH:** So let me explain this one  
5 more time. For 2019, we have two baselines for low-  
6 rise residential. We're proposing to continue that  
7 through 2022. In the future, we can switch to a single  
8 baseline, like in 2025. So that's for the baselines.

9 And then on the non-res side, we actually  
10 have a choice to go to a single baseline in this cycle  
11 or in the future. That's a discussion we need to have.

12 For the two metrics, I thought your  
13 question was, are you using EDR for low-rise; are you  
14 going to use EDR for high-rise or for non-res? You  
15 know, we are having some discussions with the castings  
16 and we haven't decided, you know, if it's going to be  
17 EDR or something similar to that. But we are going to  
18 have the two metrics. We're going to have the source  
19 energy metric --

20 **MR. ELEY:** Okay.

21 **MR. SHIRAKH:** -- and the TDV metric.

22 **MR. ELEY:** Okay.

23 **MR. SHIRAKH:** Roger?

24 **MR. HEDRICK:** Yeah, Roger Hedrick,  
25 NORESKO. I think a lot of the questions that are being

1 asked here are going to get addressed in my  
2 presentation later. And so let's hold off until then.

3 **MR. SHIRAKH:** Okay. Thank you.

4 **MR. HEDRICK:** I mean, you don't have this  
5 conversation grumpy.

6 **MR. NESBITT:** George Nesbitt. A few  
7 years back, the standard design, or the baseline, was  
8 somewhat reactive to what you put in your building.  
9 And then that was, I think, tightened up a little bit.  
10 Then you went to two baselines, one for electric, one  
11 for gas, which actually parallels the old package --  
12 packages we used to have, one for gas, one for  
13 electric. You had to do more insulation and stuff for  
14 electric.

15 But regardless of one or two baselines,  
16 we have the problem of pre-emption. So we could put in  
17 our billion -- you know, the best windows, the best  
18 insulation, the best distribution system, the best  
19 assumption about where the ducts are, you know, various  
20 things. But we still have the problem of eighty  
21 percent AFUE furnace or a minimum energy factor water  
22 heater or the minimum SEER air conditioner or HDSS  
23 heater. So there's still a lot of room there to trade  
24 off that good envelope.

25 So in passive house, there's basically

1 two requirements. You first have to meet your heating  
2 and cooling budget and site energy. So it's -- it  
3 makes no judgment whether you use electric or fuel.  
4 But then, you have at total budget that's source  
5 energy. So you have to meet that, too.

6 Now, of course, your fuel choice in  
7 heating and cooling affect your total. And so ideally,  
8 what we need to decide is, what is an energy-efficient  
9 building? How you get there, we care a little less  
10 about, although we do care, and let you get there  
11 because we -- and I think this proposal still allows  
12 plenty of trade-off on the enclosure.

13 **MR. SHIRAKH:** It does, but it doesn't  
14 allow -- again, the way this is going to work is we'll  
15 go to -- if we basically go to a single baseline, we'll  
16 start with a mixed-fuel home, then we'll start flipping  
17 end uses -- maybe just water heating, maybe all of it.  
18 And based on that, on the EDR1, we use the source  
19 energy to define the carbon limit for that building.  
20 And when we ran our simulations, was actually no way  
21 that you could go back and put in a gas appliance or a  
22 gas water heater by, you know, putting more efficient  
23 envelope.

24 You have to meet EDR1 and 2 at the same  
25 time. So that EDR1 does really guard the

1 decarbonization very effectively. And then EDR2 allows  
2 you to get to those goals in the most cost-effective  
3 way.

4 Go ahead.

5 **MR. DELFORGE:** Pierre Delforge, NRDC. On  
6 the 2EDR approach it's very thorough research and  
7 smart. I generally, you know, strongly support the  
8 general approach. The concern I have is around the two  
9 separate baselines. It was implemented in 2019 as a  
10 workaround for the performance pass.

11 Going forward, we want to make sure that  
12 we use this, you know, smarter metrics, better metrics  
13 that are better aligned with our current goals to make  
14 sure that we stop building with gas as soon as  
15 possible. We know, you know, where the future of gas  
16 studies that your drafts going to come out soon,  
17 clearly shows that, you know, we're going to have to  
18 try to access every new building and goes -- that's  
19 built is going to get stranded before the end of its  
20 lifetime.

21 We can't afford another six years of new  
22 construction in California with buildings built with  
23 gas and all the societal costs that will come with  
24 that. And you know, if there's one sector where we  
25 need to, you know, to switch a hundred percent as soon

1 as possible is new construction. And there's no doubt  
2 about this.

3 So I don't think we can, you know, wait  
4 for another code cycle to move to a single baseline  
5 with a GHG line metric in the performance past. And  
6 across all sectors -- and I realize this -- you know,  
7 this agreement with the builders on, you know, single-  
8 family low-rise residential, I think that can be upheld  
9 on the electric side. I don't see an issue with that.

10 But I think, you know, you have  
11 leadership locally by local government who are --  
12 there's always eleven local governments who have  
13 adopted codes that strongly encourage or require all-  
14 electric. We've got another thirty or forty in the  
15 pipeline. You know, that's sufficient to, I think, for  
16 the state to pave the way for the state to adopt this  
17 type of policy as soon as 2022.

18 The last argument I wanted to make about  
19 this is that beyond California -- I mean, California  
20 is, you know, obviously, a key priority -- but  
21 California is also showing an example, setting an  
22 example for the west of the worlds in new construction  
23 in particular. We have, I think, as Mazi has remarked,  
24 as of 2030 has the statistics that there's a new New  
25 York City worth of buildings built every month between

1 now and 2060, and many in countries where they don't  
2 have building codes, and they're looking at California  
3 to say, well, what is the building code that we need to  
4 adopt?

5 So I think we need to look bigger than  
6 California and look at where we need to go in terms of  
7 building codes. And that requires, you know, 2022 to  
8 be the code cycle where we decarbonize new construction  
9 in California.

10 And the last point to close on this is on  
11 the cost effectiveness. So far, I believe we have not  
12 included cost of the -- the cost of utility connections  
13 in cost effectiveness. And as we move to a single  
14 baseline, that's a real cost that, you know, developers  
15 pay, customers pay, and it needs to be included.  
16 It's -- you know, it's a significant cost. That -- it  
17 has significant impact in terms of cost effectiveness.  
18 So we strongly believe that needs to be included going  
19 forward as soon as 2022. Thank you.

20 **MR. SHIRAKH:** Thank you. We are  
21 beginning to look at the -- to the cost of  
22 electrification and you know, the natural gas -- the  
23 infrastructure savings and all that. So that -- we've  
24 been looking at that and we will continue to look at  
25 that. And again, we do agree that the most effective

1 way to go to electrification is a single baseline with  
2 a tight carbon budget. And that will really drive  
3 buildings towards that. Thank you.

4 Any other questions online, Peter?

5 **MR. STRAIT:** There's one question online.  
6 This is from Elizabeth McCullum (phonetic). Were there  
7 any trade-offs -- that is, deviations from standard  
8 design -- identified in the CBECC runs that resulted in  
9 passing both EDR1 and EDR2? And I think the context  
10 here is the slide was just there to illustrate how some  
11 configurations would pass one and not pass the other.  
12 I'm sure there are ones that would pass both.

13 **MR. SHIRAKH:** Yeah.

14 **MR. MCALLISTER:** But --

15 **MR. SHIRAKH:** Good question. The --  
16 what -- the slide that I showed was supposed to be all  
17 adverse consequences. So we're hoping that they all  
18 would fail. That's why I'm showing it. Yeah, I mean,  
19 you can pass by having high-performance attics and  
20 walls and a heat pump water heater; you'll pass -- or  
21 even a standard tankless water heater.

22 **MR. STRAIT:** That's all that we've got  
23 online.

24 **UNIDENTIFIED SPEAKER:** Okay. So we're at  
25 the -- about ten minutes behind time. So why don't we

1 meet back here at 1:45. And we'll start with Wilcox's  
2 presentation. Thank you.

3 (Pause)

4 **MR. STRAIT:** Oh, presentations will start  
5 again shortly. We're just waiting for people to return  
6 from lunch. For those in the room, our scheduled  
7 return time was 1:45 so we will be getting started  
8 shortly.

9 (Pause)

10 **MR. SHIRAKH:** Okay. Good afternoon. I  
11 think we're going to get started, but before we go,  
12 just wanted to introduce Commissioner McAllister's new  
13 second advisor. Is he here?

14 Fritz?

15 **MR. MCALLISTER:** Yeah, I don't think he  
16 was here right now, but he'll -- Martha was going to  
17 flag him and send him down when she had a chance. But  
18 so yeah, well, I should've announced this at the  
19 beginning.

20 So Martha actually has -- you all know  
21 and love Martha Brook. And she's a fabulous resource  
22 and continues to be so. She's sort of easing toward  
23 retirement at the Commission. If you could all talk to  
24 her individually and take her aside and tell her not to  
25 retire, that would be great.



1                   But anyway, she has moved out of my  
2 office back to -- well, actually, over to the Energy  
3 Assessments Division, working with CEVA on some stuff a  
4 little bit more behind the scenes. And my new advisor  
5 is Fritz Foo who was here earlier and will be here  
6 again. But you should all introduce yourself to him.

7                   And then you probably know my other  
8 advisor who's been with me for a long time, Bryan  
9 Early. And so Fritz and Bryan are my new awesome team.  
10 And yeah, so yeah, please introduce yourselves at some  
11 point. Thanks.

12                   **MR. SHIRAKH:** Okay. Thank you. So we're  
13 going to go to residential simulation results.

14                   Bruce?

15                   **MR. WILCOX:** Thank you, Mazi.

16                   **MR. MCALLISTER:** Also, actually, let me  
17 say one more thing. Sorry, Bruce.

18                   Just -- I wanted to just point out the  
19 public advisors representative, Dorothy, who's right in  
20 the back there. She has her hands up. And you know,  
21 this workshop is, like I said, the beginning, sort of  
22 insider baseball, so not a whole lot of public --  
23 members of the true public in here.

24                   But if any of you go out into the world  
25 and have -- you know, encounter in your clients, or you

1 know, the communities you work in -- maybe you work in  
2 low-income, maybe you're working in, you know, English  
3 as a second language type communities, or with  
4 developers who have those sorts of constituents, local  
5 governments -- the -- please do turn them on to the  
6 public advisor. If there are any issues with access to  
7 the Energy Commission, and our processes, and you know,  
8 our kind of sometimes Byzantine process -- I think, you  
9 know, it's not -- it's actually not that bad,  
10 generally, but it's not intuitive to regular people.  
11 So Dorothy and other members of the team can help you  
12 access the Energy Commission, help those folks access  
13 the Energy Commission. Thanks.

14 **MALE SPEAKER:** Before I forget, I am  
15 (indiscernible).

16 **MR. SHIRAKH:** The comment period for this  
17 workshop is November 13th, so we appreciate your  
18 comments by then -- your written comments. Thank you.

19 **MR. WILCOX:** Okay. So I'm going to  
20 present an explanation of the impact of the new weather  
21 and TDV and all of the associated stuff that you've  
22 heard so far on the residential standards in the  
23 context of the CBECC-Res program which is what's used  
24 for residential compliance and for standards  
25 development and so forth. And the basic thing -- the

1 point of this presentation is to help you understand  
2 what all those numbers that have been presented earlier  
3 actually mean.

4           So we're essentially using the CBECC-Res  
5 program as a viewer of the integrated effect of weather  
6 and TDV and all of that stuff. And in spite of the  
7 fact that Charles Eley just proposed that I win an  
8 award for the worst slide ever presented at the Energy  
9 Commission, this is exciting compared to these results  
10 which are just mostly a lot of -- they're mostly a lot  
11 of trends. But I think -- you know, I think really  
12 it's what -- it's the guts of understanding what has  
13 changed here because that's what I think is really  
14 important is how things changed. And we'll see.

15           So I'm going to spend a little bit of  
16 time talking about the history of compliance and EDRs  
17 and TDVs and so forth, just to put this in perspective.  
18 And then I'm going to give a bunch of comparison  
19 examples where we look at the 2019 TDV analysis and how  
20 measures are rated compared to the proposed 2022  
21 ratings for the same measures, same buildings.  
22 Everything's the same. The only thing that's different  
23 is weather and TDV.

24           And so we're going to look at, you know,  
25 overall savings from the 2019 update, water heating,

1 space heating, natural gas. We're going to look at the  
2 two different natural gas scenarios and see how much  
3 effect that makes on the results. And then, we're  
4 going to look, single measure at a time, at high-  
5 performance walls, attics, windows, and doors, quality  
6 insulation, PV, and batteries.

7 And then I've got that, you know, one  
8 slide on the hourly source energy impact that we're  
9 going to -- we can talk about at the end. And I'm  
10 perfectly happy to be interrupted with questions as we  
11 go along, unless it gets too slow. Okay.

12 So looking at the recent history of  
13 compliance in the res standards, this is the compliance  
14 summary screen from the 2016 software which is the  
15 stuff that's still in effect right now and is about to  
16 be superseded at the end of this year when the 2019  
17 standards go into effect. And it was, you know,  
18 basically very simple. There was a standard design and  
19 a proposed design here in these two buildings.

20 And then you calculate the TDV total --  
21 the TDV energy use -- for the standard design and the  
22 proposed design. And if the proposed TDV was less than  
23 the standard, then you passed. That's it.

24 There was a compliance margin and it's  
25 all in TDV units. So -- and that was the old simple

1 world. Then, for 2019 compliance, which is -- now  
2 that's -- it's a software that's on the street and  
3 people are using it for doing compliance forms for  
4 buildings to be built starting in January.

5 So this is the approved stuff that's the  
6 current things the compliance calculation is  
7 complicated by being done in EDR terms, not in TDV  
8 terms anymore. EDR is the energy design rating. And  
9 it's a ratio of the proposed -- to -- there's actually  
10 a -- oh, the compliance is done by comparing the EDR of  
11 the proposed design to the EDR of the standard design.  
12 And TDV is never mentioned in the compliance world in  
13 2019.

14 EDR is a metric that you -- is calculated  
15 by comparing the results for the building in question  
16 to the results for 2006 IECC version of that same  
17 building, which we call the reference design. And  
18 there's a lot of political connections behind this and  
19 so forth, but it's -- you know, it's basically defined  
20 terms that one of the things we have to do for this is  
21 we have to run another simulation for that reference  
22 house, for every time we do an analysis. And we then  
23 calculate this EDR.

24 And it's -- you know, I think Mazi  
25 mentioned earlier, for 2019, we now have dual

1 compliance criteria. There's an efficiency EDR which  
2 includes envelope, HVAC, DHW, and unregulated loads,  
3 and self-utilization credit for batteries. There's  
4 some fiddling around in the background there. But this  
5 is the protected efficiency metric that we were talking  
6 about earlier.

7           And then there's a final EDR in which you  
8 add in the results for the PV, the battery, the demand  
9 response, and so forth. And you have to actually  
10 comply with each of these separately to -- in order to  
11 comply.

12           So now, we have two compliance metrics.  
13 So the calculations are twice as complicated. I don't  
14 know what we're going to do. Wait until the next one.

15           So this is what the compliance summary  
16 page looks like. You have the standard design EDRs for  
17 efficiency and total, and you have the proposed design  
18 EDRs for efficiency total, and then we calculate this  
19 compliance margin by subtracting the standard -- or the  
20 proposed from the standard. And if these numbers are  
21 positive, as it says down here, building complies when  
22 all efficiency and total margins are greater than or  
23 equal to zero. It's pretty simple, but you have to do  
24 them both.

25           So now we're going to go -- the proposed

1 2022 compliance that we've talked about today is we're  
2 adding one more EDR criteria. And that's the EDR1  
3 which is calculated using hourly source energy. So  
4 we -- we're keeping the 2019 compliance criteria  
5 basically exactly the way it is in 2019. And we're  
6 adding on this new EDR1. We changed the name of the  
7 2019 ones to EDR2.

8           So it's an EDR2 efficiency and an EDR2  
9 total. And we're calculating all that stuff, as I  
10 said, the same way. And now, the rule is that all  
11 three of those criteria have to be complied with, and  
12 again, no trade-offs between any of them. And a  
13 similar, exciting design of the summary screen shows  
14 that we now have three -- our three different criteria  
15 and three different compliance margin. And it says  
16 building complies when all source efficiency and total  
17 margins are greater than or equal to zero.

18           So you know, from Nehemiah's point of  
19 view, this is really complicated now, right? But in  
20 fact, you know, it's the same building with exactly the  
21 same inputs that we had in 20 -- you know, essentially,  
22 in 2016. The building isn't any more complicated when  
23 the building official goes out and looks at it. And so  
24 I think, you know, we're handling this complication  
25 behind the scenes in a nice and slick way.

1                   So now, I'm -- what I'm going to do is  
2 present these example cases for residential results.  
3 And as I said earlier, it's -- the intention here is to  
4 illustrate the combined impact of the changes in the  
5 weather and the changes in TDV.

6                   All of my examples here are calculated  
7 using one prototype for simplicity. It's the 2700-  
8 square foot two-story, four-bedroom prototype that  
9 we've used a lot for things. And you know, the results  
10 would be a little different if you used different  
11 prototypes. But that's not going to upset the  
12 conclusions here at all, I don't think.

13                   And then there are two cases that we are  
14 using here because we have essentially these two  
15 different standard designs. One's for mixed-fuel,  
16 which has been the traditional California way to beat  
17 the code which is gas space and water heat, and  
18 cooking, and clothes drying, and then electric cooling.  
19 And that's -- we -- they return that in mixed-fuel.  
20 And then, there's the second case which is all-  
21 electric.

22                   And in 2019, we developed the standard  
23 design for all-electric, so we now have these two  
24 different paths that are independent. And that makes  
25 it easier in 2019 for the all-electric cases to comply.



1 It makes it harder for all of us going forward to make  
2 the carbon work. So -- all right.

3 So I'm going to show you a whole bunch of  
4 these really exciting, very colorful bar charts here.  
5 So the way this is organized is that we -- across the  
6 bottom we have climate zone. So there's sixteen sets  
7 of bars here, one for each of the sixteen climate  
8 zones. And then, we have a statewide number which is  
9 based on the sixteen results for the sixteen climate  
10 zones weighted by housing starts. And then, there's  
11 actually an average which is just a straight average of  
12 the sixteen.

13 So if you want to look at the overall,  
14 you can look at those two bars. The blue bars in all  
15 these cases are calculated using the 2019 compliance  
16 criteria and the 2019 software and rules. And then,  
17 on -- and the orange bars are doing -- using new,  
18 proposed 2022 rules. And the one we're using for all  
19 of our cases except one variant is the mid-IEPR case.

20 It turns out I'll throw it a little while  
21 that it actually doesn't matter very much. But okay,  
22 so this is, like, one of the fundamental things here.  
23 How much energy was saved by the -- all the travail in  
24 the 2019 standards update. And you know, the -- this  
25 is judging that in terms of EDR with a compliance

1 variable. And you know, there's a little bit of  
2 difference. It's not very much.

3 And you know, mostly, the new calculation  
4 is giving a smaller EDR credit to all that -- all those  
5 measures and all that stuff that was done. And I think  
6 this is generally what's going on here that -- and I  
7 think -- I don't know -- maybe Snuller mentioned this  
8 this morning, but we think some -- I think that this is  
9 mostly driven by the fact that we're not giving as much  
10 credit for solar because we now have more solar than we  
11 used to have. It's worth less. And so all this big  
12 solar credit that we got is now worth slightly less.

13 There's a whole bunch of other things  
14 going on here, too -- the weather changes, the -- you  
15 know, all of that. Anyway, so who knows? Anybody  
16 going to be freaked out by this change? I wouldn't  
17 think so.

18 So here's the other side of the same  
19 picture. This is -- if you look at the 2019 standards  
20 update, all the measures from 2016 to 2019, and we do  
21 this in TDV terms because you'd never do this for  
22 compliance. This isn't compliance. But if you're  
23 doing standards development where you want to do life-  
24 cycle costing, this is the life-cycle costing number.

25 And again, the -- they're different;

1 they're not radically different. And again, the 2022  
2 numbers are slightly lower for this stuff and it's  
3 again driven, I think, by the PV. And the -- it's not  
4 as uniform as those EDRs. The EDRs put everything --  
5 because it's a ratio, everything gets kind of put into  
6 the same absolute magnitudes.

7           So climate zone 15, which is the highest  
8 climate zone in the state, Palm Springs, you know,  
9 stands out here as having bigger TDV savings from the  
10 2019 update than all the other zones. And so -- and --  
11 well, we'll look at the individual cases here.

12           But again, I don't think this is very  
13 scary from anybody's point of view. So if you try and  
14 look at this without the PV -- just for Martha's  
15 sake -- if we look at the mixed-fuel house and the  
16 savings from the 2019 update, all the measures without  
17 PV, and look at it from EDR terms, then, you know, the  
18 picture's quite different because that PV credit is,  
19 you know -- it -- the -- it levels everything out real  
20 nicely.

21           And there is some significant differences  
22 now between the 2022 and 2019, particularly in cold  
23 climates. With 1 and 16, the 2022 numbers are  
24 significantly better, so same measures are worth more.  
25 And I think this is because there's more heating in the

1 weather files now, and also because heating is -- gas  
2 is now valued at a higher number.

3           So that makes all the heating stuff more  
4 cost effective. So this is one of the changes that  
5 you're going to -- you can expect to see here, I think,  
6 and going forward, if we keep going on the path that we  
7 talked about this morning, that the heating gets  
8 amplified.

9           All right, so now we're going to start  
10 talking about single measures and looking at single  
11 measures. So this is if you start with a mixed-fuel  
12 house and you replace your instantaneous water heating  
13 with a high-efficiency, instantaneous, condensing,  
14 instantaneous water heater, going from a .82 to .92  
15 EF -- UEF. This is the -- how much energy it would  
16 save in EDR terms.

17           And this is kind of an interesting  
18 pattern we get here. All these low number climate  
19 zones are getting bigger credits in 2022 than -- quite  
20 a bit bigger than they did in 2019. And then, when you  
21 get up here to the -- to, you know, the -- well, it's  
22 still true in a lot of them. 2022 is giving us more  
23 credit.

24           Again, I think this is because of the  
25 higher value of gas. There's some, maybe, temperature

1 things going on or something, too. But it's -- the gas  
2 stuff goes all the way across there. And you know,  
3 this is a significant difference.

4 Go ahead, Martha.

5 **MS. BROOK:** This is Martha. So the title  
6 shows savings, but then the Y-axis says EDR2.

7 **MR. WILCOX:** Yeah, it's the -- well,  
8 it's -- the savings is in EDR2 total. That's the name  
9 of the metric in the new world.

10 **MS. BROOK:** But the -- so it's not the  
11 total amount for the building. It's the difference  
12 between two code vintages?

13 **MR. WILCOX:** Yeah.

14 **MS. BROOK:** Okay, thanks.

15 **MR. WILCOX:** So this is the difference  
16 between the standard design building which has a --  
17 yeah, a .82, I believe, UEF heat pump -- I'm sorry, not  
18 heat pump -- instantaneous gas water heater. And we've  
19 replaced that with a .92 which is fifteen percent more  
20 efficient.

21 **MR. NESBITT:** George Nesbitt. The 2022  
22 bars are taller than the 2019 bars.

23 **MR. WILCOX:** That's right.

24 **MR. NESBITT:** So is this total TDV or is  
25 this the margin of savings?

1                   **MR. WILCOX:** This is the marginal EDR.

2                   **MR. NESBITT:** Okay.

3                   **MR. WILCOX:** So it's related to total  
4 TDV.

5                   **MR. NESBITT:** It's the reduction of the  
6 EDR and that's --

7                   **MR. WILCOX:** Yeah, right.

8                   **MR. NESBITT:** Okay.

9                   **MR. WILCOX:** So what you can think about  
10 is if you're looking for something to get you, you  
11 know, one point, one EDR point, you know, and you're in  
12 climate zone 7, you can do that trade-off and get it.

13                   **MR. NESBITT:** Okay. So are both colors  
14 of bars the same .92 water heater?

15                   **MR. WILCOX:** Yes.

16                   **MR. NESBITT:** Okay. So --

17                   **MR. WILCOX:** Same water heater. Same --

18                   **MR. NESBITT:** So you wouldn't -- so you  
19 would need more credit. So this is a little  
20 counterintuitive, but -- so you're getting more credit  
21 for the same measure under the new metric.

22                   **MR. WILCOX:** That's right.

23                   **MR. NESBITT:** Okay.

24                   **MR. WILCOX:** In some case --

25                   **MR. SHIRAKH:** Okay. And the reason for

1 that is if -- this is a natural gas saving measure.  
2 And because the appliance is more efficient in the 2022  
3 TDVs have a higher natural gas cost in it. So anything  
4 that saves natural gas will get a point, like a bumped  
5 in.

6 **MR. NESBITT:** Yeah, I know. Okay, I got  
7 that. Thanks.

8 **MR. WILCOX:** So this is -- you know, part  
9 of the reason for poking down here into the weeds is  
10 because there's some stuff that, you know, you don't  
11 actually realize until you start looking at it. I --  
12 you know, I'm thinking, I didn't -- wasn't thinking  
13 when I first saw this that this was right. So anyway.

14 Any other questions on that, John?

15 **MR. MCCUE:** John McCue. I'd understand  
16 this is if this was in TDV units, but given that it's  
17 an EDR which is divided by the TDV units for the 2006  
18 IECC, why -- when you take something, you know, I'd  
19 expect that, oh, yeah, okay, so the IECC 2006 is a  
20 higher value, too. And also, the savings is a higher  
21 value. Why doesn't it sort of cancel out? Thank you.

22 **MR. SHIRAKH:** The 2006 IECC's using, you  
23 know, the inefficient appliances, right? That doesn't  
24 change.

25 **MR. WILCOX:** So now -- okay. So one way

1 to look at --

2 **MR. SHIRAKH:** But the -- but this goes up  
3 because, you know, you're using a much more efficient,  
4 so the relative difference becomes bigger.

5 **MR. WILCOX:** Well, the other way to look  
6 at it is that, if you looked at this in terms of  
7 therms, they would be identical, right? They -- the  
8 two bars would be absolutely identical. It's the same  
9 physical device doing the simulation, the calculations  
10 the same. Everything would be the same. And -- but  
11 the -- in 2019, you know, whatever it is, three therms  
12 of gas is worth .6 in climate zone 1. And in 2022,  
13 three therms of gas is worth 1.1. And that's the  
14 function of the TDV calculation.

15 **MR. SHIRAKH:** The good news here is that  
16 the 2022 TDV actually lines nicely -- aligns nicely  
17 with the EDR1, the source energy. They're both  
18 pointing same direction toward decarbonization.

19 **MR. WILCOX:** I want to show you the  
20 electric version of this next. Maybe that would be  
21 helpful. I don't know. I think I'm going to. Hmm.  
22 Okay.

23 So if you take the all-electric house and  
24 we replace the heat pump water heater, the minimum  
25 efficiency EF2 heat pump water heater with a Sanden



1 high-efficiency water heater, this is what that same  
2 plot looks like. And you know, depending on the  
3 climate zone, they're either about the same or quite  
4 different.

5 And I think this is -- there's some  
6 differences in TDV values in climate zones 1 and 3.  
7 And I think that's what's going on here. But the  
8 climate's also different. And so this high-efficiency  
9 water heater works differently in different climates.

10 And the best example of that is climate  
11 zone 15, where here it says -- everyone looks at this  
12 and says, that can't be true -- but the fact is that  
13 Sanden water heater, with its CO2 refrigerant -- this  
14 is the carbon dioxide refrigerant machine, so this is  
15 very clean -- apparently, it doesn't work very well  
16 when it's hot. So the performance drops off radically  
17 in the summertime in climate zone 15.

18 And we've known this for the last year or  
19 so when we've been working on these things. So this is  
20 nothing new in that regard.

21 **MR. MCALLISTER:** Bruce, are the vertical  
22 axes comparable? Because these are bigger numbers,  
23 right, than we saw for the condensing? So like, where  
24 we were trying to get one point here from a .82 to .92,  
25 where if we go to the heat pump, we're up at, like, a

1 credit of, like, two or three in --

2 **MR. WILCOX:** Yeah.

3 **MR. MCALLISTER:** -- some cases, right?

4 **MR. WILCOX:** Well, so -- okay. There's  
5 the -- and that has to do with climate, I think. So  
6 the -- you know, in the mild climates here, climate  
7 zone 12 and --

8 **MR. MCALLISTER:** Um-hum.

9 **MR. WILCOX:** -- so forth, we're in that  
10 same range of one, right, for that. It's about the  
11 same kind of savings that we got for the high-  
12 efficiency gas machine.

13 **MR. MCALLISTER:** So Bruce, wouldn't that  
14 also have to do with the fact that the COP difference  
15 is a lot larger than the energy factor difference  
16 was --

17 **MR. WILCOX:** Yes.

18 **MR. MCALLISTER:** -- for the --

19 **MR. WILCOX:** Yeah, there's also -- it --

20 **MR. MCALLISTER:** Yeah.

21 **MR. WILCOX:** -- so it also has to do with  
22 that. But it also -- the minimum efficiency heat pump  
23 water heaters don't work very well when it's cold. The  
24 Sanden doesn't work very well in Palm Springs, but the  
25 other machines don't work very well when it's cold. So

1 the machine that we're -- that's our standard design  
2 heat pump water heater is one of these things that if  
3 it gets to be below forty, it turns off and goes to  
4 electric resistance which is the standard, bottom-of-  
5 the-line model.

6 And so that happens a significant amount  
7 of time in the garage in climate zone 16 and climate  
8 zone 1. You run your heat pump water heater out there  
9 and you cool the garage down and then you're straight  
10 resistance.

11 But that Sanden, there's no back up. It  
12 runs all the way down to minus twenty or something.  
13 And so it works really well in cold climates.

14 **MR. MCALLISTER:** So I want to just make  
15 sure I'm understanding this. So we have -- in both  
16 cases, we have identical technology. All we're doing  
17 is looking at it through the two different -- through  
18 the -- to the old EDR -- the old TDV and the new EDR2.

19 **MR. WILCOX:** Yes.

20 **MR. MCALLISTER:** And we're getting  
21 different credits, basically.

22 **MR. WILCOX:** Yeah.

23 **MR. MCALLISTER:** And so for the electric  
24 technology, we're giving in the -- and going forward  
25 for 2022, we're giving the same electric technology

1 less credit. And for the gas technology, we're giving  
2 the same gas technology more credit. Like, i.e., the  
3 same technology gets a lower relative EDR for gas and  
4 a --

5 **MR. WILCOX:** Okay. So --

6 **MR. MCALLISTER:** Yeah.

7 **MR. WILCOX:** -- let's pick one climate  
8 here. Let's pick climate zone 12 right here, 12.  
9 So --

10 **MR. MCALLISTER:** I'm trying to look at it  
11 through the eyes of somebody who wants to promote  
12 electrification, for example.

13 **MR. WILCOX:** Okay. So look at climate  
14 zone -- yeah, see that --

15 **MR. MCALLISTER:** And I'm not saying who  
16 that is or I'm not assigning --

17 **MR. WILCOX:** Yeah, I'm -- and also,  
18 Commissioner, I have to apologize. One of the problems  
19 of where we are and what I was able to present today is  
20 that this is using the 2022 research program which  
21 actually has a separate baseline for electric and gas.

22 **MR. MCALLISTER:** Um-hum.

23 **MR. WILCOX:** So I can't actually do --  
24 there's no -- you know, I'm not saying I can do it all  
25 by hand. I can't actually compare a gas water heater

1 EDR with an electric water heater EDR.

2 **MR. MCALLISTER:** Well, then I'm just  
3 saying, like, look, if we -- like, for example, this --  
4 we're getting more EDR credit with the 2022 metric than  
5 we were with the 2019 metric --

6 **MR. WILCOX:** Right. And so it --

7 **MR. MCALLISTER:** -- for the same gas  
8 technology.

9 **MR. WILCOX:** Yeah. At climate zone 12,  
10 we're going from a .4 -- am I looking at this right --  
11 yeah, .4 in 2019 to --

12 **MR. MCALLISTER:** To a .7.

13 **MR. WILCOX:** -- a .7 in 2022 --

14 **MR. MCALLISTER:** Okay, conversely --

15 **MR. WILCOX:** -- EDR points. And --

16 **MR. MCALLISTER:** What --

17 **MR. WILCOX:** -- climate zone 12, it's  
18 going another --

19 **MR. MCALLISTER:** For the same --

20 **MR. WILCOX:** -- direction.

21 **MR. MCALLISTER:** For the same electric  
22 technology, we're getting less credit than we got in  
23 2019 --

24 **MR. WILCOX:** So --

25 **MR. TAM:** Hi.

1                   **MR. MCALLISTER:** -- in general.

2                   **MR. TAM:** Danny. Some part of it might  
3 have to do with weather as well. Gas technology is not  
4 affected by the warmer weather as much --

5                   **MR. WILCOX:** Yeah.

6                   **MR. TAM:** -- versus the Sanden, in a  
7 warmer weather's going to perform a little bit worse.

8                   **MR. MCALLISTER:** Well, yeah, but  
9 presumably, the twenty -- let's go back to the gas one.  
10 I mean, I understand it's probably because gas in the  
11 TDV world got more expensive between 2019 and 2022, so  
12 they avoided -- the cost was greater or something. But  
13 it seems counterintuitive that we're taking this same  
14 technology that's been around and we're giving it more  
15 credit in a later code cycle.

16                   **MR. SHIRAKH:** But it's not --

17                   **MR. WILCOX:** Well --

18                   **MR. SHIRAKH:** Can you go to the -- I  
19 think it actually makes sense because the 2022 TDV has  
20 less value than 2019, you know.

21                   You know, what -- Snu, what do you think?

22                   **MR. PRICE:** So what I was going to say is  
23 what we're doing is we're basically putting -- if you  
24 go to the gas version, there's basically more reason to  
25 do more gas efficiency now in the 2022 code. You're

1 getting more -- basically, we're valuing reducing the  
2 natural gas more --

3 **MR. MCALLISTER:** Right. Okay.

4 **MR. PRICE:** -- now. So there's --

5 **MR. MCALLISTER:** Okay.

6 **MR. PRICE:** So if you weren't going --  
7 you're kind of on the fence about doing the condensing  
8 before, now it's like --

9 **MR. MCALLISTER:** Now (indiscernible).

10 **MR. PRICE:** -- oh, man, I really want to  
11 do it.

12 **MR. WILCOX:** I want that extra half  
13 point.

14 **MR. MCALLISTER:** Right.

15 **MR. PRICE:** I want that extra half point.  
16 So we're putting -- basically, putting more pressure on  
17 gas and -- than less.

18 **MR. MCALLISTER:** Okay. Yeah.

19 **MR. WILCOX:** Right, conversely --

20 **MR. PRICE:** I'll put another way. It's  
21 like you're increasing the cost of gas from three  
22 dollars to five. That means if you save a certain  
23 amount of gas you get more savings.

24 **MR. WILCOX:** Yeah.

25 **MR. PRICE:** And you're decreasing the

1 value on the electric. So if you save electricity, you  
2 get less.

3 **MR. MCALLISTER:** You get less.

4 **MR. PRICE:** But the comparison between  
5 the two, gas is more expensive and therefore you're  
6 encouraging electrification. So these kind of graphs  
7 are not good at comparing electric to gas.

8 **MR. WILCOX:** Right, yeah.

9 **MR. PRICE:** You have to --

10 **MR. MCALLISTER:** Yeah, but that --

11 **MR. PRICE:** -- compare electric to gas.

12 **MR. MCALLISTER:** Yeah, and that wasn't my  
13 question.

14 **MR. PRICE:** That's how it should do it.

15 **MR. MCALLISTER:** I wasn't --

16 **MR. PRICE:** Yeah.

17 **MR. MCALLISTER:** I wasn't -- I was  
18 actually asking the fuel-specific questions, not the --

19 **MR. PRICE:** Yeah.

20 **MR. MCALLISTER:** -- comparison question,  
21 but you -- I think Snu answered my question.

22 **MR. PRICE:** Yeah, so --

23 **UNIDENTIFIED SPEAKER:** (Indiscernible).

24 **MR. DELFORGE:** As one of the people that  
25 have an interest in promoting electrification, I would



1 also think that with revised retail adjustment, which  
2 wouldn't be -- which would go low in the middle of the  
3 day when you tend to have more heat pump operation, the  
4 penalty on heat pump would be lower.

5 **MR. MCALLISTER:** Yeah.

6 **MR. WILCOX:** Maybe, probably. I don't  
7 know. One of the things that -- one of the things that  
8 happen with the heat pump water heaters is they tend to  
9 run during the middle of the day quite a bit because of  
10 the big peak water use in the morning --

11 **MR. MCALLISTER:** Yeah.

12 **MR. WILCOX:** -- in the typical family.  
13 And then it spends all, you know, most of the day  
14 reheating that water. So there's a lot of use on peak  
15 in those.

16 **MR. MCALLISTER:** On solar peak, yeah. So  
17 but this is a -- so this same -- that same  
18 conversation, Pierre, that you bring up is our homework  
19 after today, is to get a handle on that retail adder  
20 option.

21 **MR. WILCOX:** Yeah. And we could, you  
22 know, Commissioner, if you really wanted to get into  
23 it, I could print hourly values of all this stuff and  
24 you could see what the patterns look like.

25 **MR. MCALLISTER:** I'm sure.

1                   **MALE SPEAKER:** (Indiscernible) quite able  
2 (indiscernible).

3                   **MR. WILCOX:** You know, I don't have to,  
4 but my schedule gets pretty full. So I certainly can  
5 understand that. Okay. So there's the two heat pump  
6 cases -- heat pump water heating cases. Okay.

7                   Now, let's talk about heating. So this  
8 is a high-efficiency -- well, I should say high-  
9 efficiency heating and cooling. So this is in a mixed-  
10 fuel house and we're take -- leaving it mixed-fuel and  
11 we're changing to a condensing furnace, AFUE of 9 --  
12 .96, and a high-efficiency air conditioner, SEER 18,  
13 EER 13. And the -- this is the -- again, that same  
14 comparison.

15                   So for this comparison, in almost all --  
16 let's see. Maybe in all the climate zones, except  
17 maybe 5. No, we're better -- you get a better bang out  
18 of the -- this efficiency upgrade in 2019 than in 2016.

19                   It's also the case in climate zone 15  
20 where there's no heating. The -- we don't get big  
21 bang. But so you know, modest change here.

22                   Again, the -- in the cold climate zones,  
23 it's bigger because of the heating load, I think. So  
24 this focuses more on heating because of that change in  
25 the gas price. So this is the -- did I -- oh, okay.

1                   So here's the other way of looking at  
2 that same -- this is just to throw a loop in your  
3 thinking here. Okay, this is EDR. And this is all  
4 done as ratios, right? So these are all on a scale of  
5 zero to one hundred. But if we're life-cycle costing,  
6 as I said earlier, which that's based on TDV, the TDV  
7 is the cost metric.

8                   So this is the savings in TDV terms for  
9 these things. And it's quite different than the one  
10 for EDR. So that's why I wanted to present it, just to  
11 make sure, you know, that people can see that, even  
12 though the -- in EDR terms, you know, in climate zone  
13 15, there was a toss-up.

14                   And it wasn't the biggest one. And if  
15 you go to TDV terms, it's the biggest saver because  
16 that's where the biggest heating and cooling loads --  
17 primarily cooling. And with our lower value of  
18 electricity, it's less than it was for 2019.

19                   Just -- Mazi wanted me to present, you  
20 know, all of these for every case. And that's -- I'm  
21 joking. I think there's so many bars here you're never  
22 going to be able to remember this, but maybe we'll --  
23 maybe you can download this and stare at it. Okay. So  
24 that's -- okay.

25                   And then, one other thing to look at

1 here, so we have these two scenarios they -- for gas,  
2 the mid-IEPR level of gas value and the policy-IEPR  
3 level for gas value. And so this is the results that I  
4 just showed you for the TDV savings from the high-  
5 efficiency heating and cooling.

6 This is comparing those two different  
7 versions of the gas valuation. And there's a little  
8 difference. The policy one gives you slightly bigger  
9 credits in the -- especially in the cold climates where  
10 there's a lot of heating use. But you know, the  
11 pattern is basically identical and the differences are  
12 not -- on average are, you know, two or three percent.

13 So it's not a big deal, I think. And  
14 does that make any sense or not? Okay. All right.

15 So now we go to the all-electric house.  
16 And we go to high-efficiency heat pump instead of the  
17 standard line baseline heat pump. And you know, here  
18 we're -- you know, it's not very different between 2019  
19 and 2022. In the cold -- two cold climates, they're  
20 basically flip-flopping on which is more.

21 So we don't have that in one of the big  
22 pattern that's driven by the gas price. This is all-  
23 electric and climate, I think. And the differences  
24 aren't so big.

25 If you go back up to -- this is the EDR.

1 This is the version for -- you know, it's quite similar  
2 to this chart, except we don't have those big outliers  
3 for the -- that high gas in the cold climates. Okay.

4 So it would, of course, be possible for  
5 us to say, suppose you had a -- suppose you had an  
6 electric standard design for that gas mixed-fuel house;  
7 what would that look like? And we could construct such  
8 a thing, but I don't have one at -- in the current  
9 software unfortunately. Okay. So moving on.

10 So I'm going to look at the envelope  
11 measures for the 2019 update. And this -- what we're  
12 doing here is we're taking the 2016 standard design  
13 house and we're adding these measures that were  
14 introduced in 2019.

15 So this one's adding the high-performance  
16 wall. It's a single change to 2016 package. And then  
17 we're analyzing that using the 2019 TDV -- or 2019 EDR  
18 and the 2022 EDR and comparing them. And so high-  
19 performance walls are not required in climate zone 6  
20 and 7, so we don't have the results for that. And  
21 there -- you know, there are some differences,  
22 generally. And it's very mixed, on average. They're  
23 not very different, but again, we see the --

24 **MR. SHIRAKH:** What's up with climate zone  
25 12?

1                   **MR. WILCOX:** Well, this is all climate  
2 zones. What -- what's wrong with climate zone 12? I  
3 don't know, Mazi, maybe there's something wrong in the  
4 data. But I don't think so. But we can check that to  
5 see. I don't know.

6                   **MR. MCALLISTER:** It's worth noting that  
7 the values on the axis are so small that it might look  
8 larger than it really is.

9                   **MR. WILCOX:** Yeah, these are actually --  
10 all my data has got -- it's to a tenth of an EDR. So  
11 that's why they're all lining up like that. So that's  
12 probably -- could be done better. Okay.

13                                 So that -- here's the second single  
14 measure one which is the high-performance attic. And  
15 again, there's some small changes. There's a whole  
16 bunch of climate zones where it's not required. And  
17 then -- you know, but on average, the results are  
18 pretty close to the same on average to -- from 2019 to  
19 2022. And it varies a little in climate zones,  
20 depending on weather and so forth.

21                                 Windows and doors -- significant savings  
22 for windows and doors in that update. On average, the  
23 values are about the same. Again, we're getting the  
24 big benefit on the -- in the really cold climates from  
25 the high price of gas, and other than that, pretty much

1 simple.

2 And here's QII which was the quality  
3 insulation installation, same basic pattern. So I  
4 mean, one way to look at this is that, you know, people  
5 are always think -- you know, worried that we're going  
6 to make these changes in TDV and do things for  
7 compliance, and everything will fall apart, and it  
8 won't work the way it did before, and you won't be able  
9 to -- you know, you won't be able to get the same kind  
10 of compliance package to work.

11 And I think this is maybe somewhat  
12 comforting here that it shouldn't be a new --  
13 completely new world. And especially, as long as we  
14 keep the two separate baselines, all the buildings that  
15 comply, you know, right on the baseline before will  
16 still comply right on the baseline, and -- so things  
17 are not going crazy. All right, so here's the value of  
18 PV.

19 Nehemiah?

20 **MR. STONE:** Can you go back one slide? I  
21 want to ask you a question on that. So on this slide,  
22 1 and 16 kind of stand out. And I'm wondering if  
23 that's just a matter of the weather or if it's because  
24 in those two climate zones a lot of the gas is propane  
25 and -- which is a higher cost. I mean, is that

1 factored in?

2 **MR. WILCOX:** No.

3 **MR. STONE:** No? Okay.

4 **MR. WILCOX:** No, this is strictly gas  
5 analysis. I mean, you're -- if we were to do a  
6 weighted, you know, sample or something, yeah, that  
7 could be the case, for sure. But this is just --

8 **MR. STONE:** Natural gas.

9 **MR. WILCOX:** -- using the mixed-fuel.

10 **MR. STONE:** Okay. Thanks.

11 **MR. WILCOX:** Good idea, though. And  
12 here's PV. So you know, this is -- we've been looking  
13 at numbers one and stuff. This -- so these are -- this  
14 is numbers like twenty. So the -- you know, the PV, we  
15 give that a lot of credit in the final EDR in the 2019  
16 standards.

17 And you know, it's slightly lower now,  
18 because I think the -- primarily, again, the value of  
19 electricity is a little lower and this is all  
20 electricity generated on-peak during the daytime,  
21 right? And so it's -- you know, there might be some  
22 differences in the weather files, but that's pretty  
23 minor. It's down in the one or two, three percent  
24 range.

25 And then here's the battery. And one



1 thing -- this is not the super aggressive battery.  
2 This is what we call the basic battery. And it doesn't  
3 have any smarts. It doesn't know when peak TDV is.  
4 And it doesn't save up and dump electricity onto the  
5 grid during the peak or anything like that. It doesn't  
6 even know from time of day.

7           And the reason we had to run this is  
8 because we just got this latest set of numbers  
9 recently. And the fancy control system for the  
10 advanced battery requires that it know about what  
11 the -- have certain levels and so forth. And that  
12 stuff didn't get done in time to run those cases.

13           So this is the battery that just runs out  
14 of the box the way you get it from Tesla where --  
15 whenever it -- whenever there's a load, it discharges.  
16 And whenever there's PV it charges. So -- but it's --  
17 you know, it's basically doing some of the same stuff.  
18 And we get a lot more credit in these -- the low number  
19 climate zones there. And I think that has to do with  
20 changes in TDV in those climate zones which my  
21 impression of looking -- just looking at TDV is it went  
22 up quite a bit in the mild Northern California climate  
23 zones compared to the others.

24           **MR. PRICE:** Bruce, remind us, the low  
25 numbers are just down the coast, right?

1                   **MR. WILCOX:** Yeah.

2                   **MR. PRICE:** So it's like all the mild  
3 climates all the way down through Santa Rosa?

4                   **MR. WILCOX:** Yeah, well, so -- you know,  
5 to Santa Rosa, it's -- you know, it's Sonoma County,  
6 and then Oakland, and then, you know, right down the  
7 coast. And when you get to 7, it's San Diego. Okay.

8                   So here's the -- that's all the measures  
9 that I'm going to present. I mean, I think, you know,  
10 we've looked at heating. We've looked at cooling. We  
11 looked at water heating. We looked at electric, and  
12 gas, and I think you got a reasonable picture here of  
13 the changes that are in the impact of the TDV and  
14 weather changes on the compliance process, and on -- to  
15 some extent on the standards development process. And  
16 so that's what the -- my intention was.

17  
18                   And then here's the same table that Mazi  
19 showed a few minutes ago, and this starts to try and  
20 talk about what happens with the hourly source energy  
21 criteria and what impact does that have. And then to  
22 be perfectly frank, it's hard to find an impact using  
23 the approach that we're doing here.

24                   If you've got standard -- separate  
25 standard design for gas and electric, then that largely

1 wipes out the impact of the source energy criteria  
2 because your standard design is using the, you know,  
3 basically in the same ballpark as much source energy as  
4 your proposed design does.

5 I see this as kind of a view into the  
6 future. I think Mazi said that, too, that once you get  
7 this and you decide you're going to do a single  
8 baseline, a single standard design in the future, then  
9 you can -- then this can actually significantly matter,  
10 but I think it's not going to matter very much at the  
11 moment.

12 **MR. SHIRAKH:** Even for based on the  
13 standards, this would prevent installation of a  
14 standard storage water heater. So it does have that  
15 impact. It makes it very difficult to slide back.

16 **MR. WILCOX:** Yeah. Well, that's what we  
17 did on the bottom line here, the bottom row. See it,  
18 okay. Suppose somebody wanted to maybe build a Passive  
19 House and put in a lower efficiency tank-type water  
20 heater, you know, the economics of that are kind of  
21 funny, but I mean, suppose you wanted to do that, and  
22 you would -- you could pass that under TDV, and you  
23 know, it's efficiency and EDR total could both pass.

24 What doesn't pass is the source because  
25 you're upping your natural gas consumption, and you

1 aren't turning that off with sufficient natural gas  
2 savings to do it. And so, you know, this would keep  
3 that from happening, but you know, we had to stretch  
4 pretty hard to find this one, and I'm not sure how many  
5 there's real practical cases there's going to be. So  
6 until we get to the point of having a single standard  
7 design or single baseline, I think that's when that's  
8 going to kick in and we make a big difference.

9 Okay. That's my presentation.

10 Questions? Nehemiah?

11 **MR. STONE:** Yeah. Nehemiah Stone, Stone  
12 Energy. So did you do all these same comparisons with  
13 an all-electric home, and if so, did you -- what did  
14 you see as kind of the comparison between 2019 and  
15 2022.

16 **MR. WILCOX:** Well, I gave you a bunch of  
17 all-electric results here.

18 **MR. STONE:** I saw a couple. But I mean  
19 almost everything you showed was from mixed fuel.

20 **MR. WILCOX:** Oh, okay. Well, so one of  
21 the -- one of the reasons for that is that all these  
22 2019 additions to the package, right, that's because in  
23 the 2016 standards there wasn't an all-electric  
24 standard design. So we didn't have any way to compare  
25 it. So I mean, this is just --

1                   **MR. STONE:** Okay.

2                   **MR. WILCOX:** I mean, we tried -- I tried  
3 to balance the cases out, but --

4                   **MR. STONE:** Okay.

5                   **MR. WILCOX:** You know, there's a -- we  
6 could have done the 2019 standards and taken out the  
7 high performance wallets, everything would have looked  
8 negative. I didn't want to, you know, be --

9                   George?

10                  **MR. NESBITT:** George Nesbitt. It might  
11 have been interesting to see you run the individual  
12 measures for the mixed fuel house but going for  
13 individual measures switching -- field switching. So  
14 going from a gas furnace to a heat pump and then just  
15 going from a gas water heater to a heat pump water  
16 heater.

17                  The other thing, the numbers are so  
18 small, what's the magnitude of difference in energy in  
19 TDV between mixed fuel baseline, and an electric  
20 baseline, and not -- and I think partly why the --  
21 well, some of the differences between the mixed fuel  
22 and the electric have to deal with the magnitude of  
23 total energy and then being, you know, converted into  
24 an EDR, and so that looks different, but --

25                  **MR. WILCOX:** Yep. Well, I don't have

1 that number, George. I could figure it out, but this  
2 is the same thing that Snuller asked for, too, which  
3 was yesterday was -- he said, tell me what just putting  
4 a heat pump in will do, and I think you're right,  
5 that's an interesting thing to do, but the problem with  
6 the current CBECC software is -- and people who are  
7 going to work in this should know that this is the way  
8 it works right now is that the baseline is actually on  
9 an appliance-by-appliance basis. So if you put in a  
10 heat pump water heater, you get a heat pump heater in  
11 your standard design.

12 So you know, we can make a version where  
13 that doesn't happened --

14 **MR. NESBITT:** I know who you can talk to.

15 **MR. WILCOX:** He's not available to talk  
16 to.

17 **MR. NESBITT:** So the value of gas savings  
18 were higher in 2022 because the TDV values of gas are  
19 higher. So -- well that almost, I think maybe makes it  
20 easier to trade-off and then the question is if  
21 electrification and decarbonization -- if  
22 decarbonization is the goal, how does it really support  
23 that, and if electrification is a better way to get  
24 there, does it actually support that?

25 **MR. WILCOX:** As I said, George, I haven't

1        tried to analyze this. We talked about what we should  
2        present here, and that's what we did. The current  
3        proposal is that there isn't such a trade-off, but you  
4        know, it could be looked at for sure and figured out.  
5        My sense is that although it's probably closer, I bet  
6        you still don't make it by putting in a heat pump water  
7        heater in a heat pump space heat condition. I think  
8        that still -- you're still left higher than the  
9        standard design gas, but I'm not sure if that's true in  
10       all climate zones.

11                    **MR. NESBITT:** And the last -- so like the  
12       last chart on the new source energy --

13                    **MR. WILCOX:** Yes.

14                    **MR. NESBITT:** -- where you did the  
15       various measures, and so like the first three got you  
16       better on source energy, but they didn't help you on  
17       TDV, whereas the last one was the reverse. The  
18       complexity maybe is the people running numbers is if  
19       you haven't complied with both the source and the TDV,  
20       the thing is the impact of any given measure may help  
21       you one and hurt you in the other, and so the  
22       complexity of now -- of understanding -- and let me --  
23       I think a lot of consultants don't fully understand the  
24       impacts that they put in at times.

25                    **MR. WILCOX:** Yeah.

1                   **MR. NESBITT:** That it may be harder to  
2 figure out to serve both of those masters.

3                   **MR. SHIRAKH:** It's actually, the way this  
4 is shaking out, most measures that say TDV, they're  
5 also going to reduce GHG and vice versa. So I haven't  
6 been able to identify a measure that -- maybe there's  
7 some DR, but most traditional energy saving measures,  
8 it helps work with the TDV and GHG reductions. So you  
9 know, the packages that consults have developed, for  
10 instance, they're going to comply here, and there are  
11 not going to be big surprises.

12                   **MR. NESBITT:** It may be that the  
13 magnitude of impact in the two is different, and it can  
14 be much harder to figure out how to do it and trying to  
15 balance cost. Okay. Well, what do I do that gets me  
16 where I need to be cost-reasonable? Although, you  
17 know --

18                   **MR. SHIRAKH:** The EDR2 is just like it's  
19 always been. You have an EDR1, and it all depends on  
20 where we set the EDR1 threshold. Now, if in the future  
21 we go to like a single baseline and then we flip water  
22 heater from gas to heat pump water heater, then that  
23 would be the signal. I mean, you can put the same --  
24 extension packages, but you have to switch your water  
25 heater, and it's not that complicated. Once you start



1 working with it, it's not that much different than  
2 what's going on now.

3 **MR. TIFFANY:** Tedd Tiffany, Guttman &  
4 Blaevoet. I want to encourage you guys to look at the  
5 single-fuel, high-performance heat pump baseline now  
6 for 2022 code cycle and not wait. Because this  
7 baseline issue and the change of the metrics needs to  
8 be done together. And I'm having this conversation on  
9 the Lead Technical Advisory Committee for National  
10 Standards. And I'm really looking forward to Roger  
11 explaining how we're doing this on nonresidential. So  
12 hopefully, we can transition into that.

13 **MR. SHIRAKH:** Any other questions in the  
14 room or --

15 **MR. NESBITT:** George Nesbitt, one last  
16 quick one. It would have been interesting to see some  
17 of this done with only the weather file changes, and  
18 only with the TDV changes. Then you can actually say,  
19 oh, this result changed because of the weather factor,  
20 or you know, the magnitude of them. As opposed to  
21 doing both at the same time, you see a change in -- you  
22 know.

23 **MR. WILCOX:** It would -- in fact, it was  
24 interesting, and we did look at that awhile back, but I  
25 think that doing boring down into the weeds mostly gets

1 people confused because what counts is the overall  
2 impact in my opinion. So --

3 **MR. ELEY:** So Bruce, controlled EDR1 or  
4 EDR2 --

5 **MR. WILCOX:** In --

6 **MR. ELEY:** Which one?

7 **MR. WILCOX:** In which case?

8 **MR. ELEY:** More efficiency, which one  
9 resulted in a better building, EDR1 or EDR2?

10 **MR. SHIRAKH:** Traditionally, it's EDR2  
11 that drives the efficiency. So EDR1 is a carbon  
12 budget. They established the budge --

13 **MR. ELEY:** If you're modeling a building  
14 and you've got two thresholds, one of them is going to  
15 be more stringent than the other. So my question is  
16 which one was more stringent; EDR1 or 2?

17 **MS. BROOK:** I think it just depends the  
18 measure --

19 **MR. WILCOX:** Yeah. And Martha said it  
20 depends, and I think that's right. But it also depends  
21 on, you know, which climate and which, you know, thing  
22 you're talking about in terms of are you talking about  
23 water heating, or are you talking about whatever?

24 And so what I'm -- we didn't even try to  
25 look at that, Charles. We didn't -- you know, what the

1 most sufficient building would have been or whatever  
2 you're implying here because all we're doing is trying  
3 to figure out how much difference it makes in the  
4 answer when we change to the new metrics. And so I  
5 didn't ever compare measures on the basis of that. I  
6 told you it was going to be boring.

7 Okay. Thank you, guys.

8 **MR. MCALLISTER:** Oh, we do have two  
9 questions online. I think they're from Dan Johnson.  
10 First, Dan asks can you show on slide 12 of your  
11 presentation, are you able to show a change to energy  
12 factor 3.5 heat pump water heater alongside this. And  
13 I think the answer there is no, is that we're not  
14 looking at what happens when you install electrical  
15 equipment into a mixed-use building on these slides, in  
16 particular, in part because when you go electric,  
17 you're using electric baseline at that point rather  
18 than the gas space line.

19 **MR. WILCOX:** That's correct, yeah. Thank  
20 you.

21 **MR. MCALLISTER:** Okay. Second question  
22 from Dan was for fuel-switching cases going from legacy  
23 homes to new heat pumps what are the EDR and TDV  
24 differences, 2016, 2019, and 2019 to 2022. I think  
25 this is all relative to newly constructed buildings

1 rather than looking at retrofits?

2 **MR. WILCOX:** That's correct.

3 **MR. MCALLLISTER:** Okay.

4 **MR. SHIRAKH:** Any other questions on --

5 **MR. MCALLLISTER:** I do not see any other  
6 questions at the moment.

7 **MR. SHIRAKH:** Okay. We're going to  
8 switch to NORESKO. But Fritz (phonetic) is actually  
9 here, the new advisor for Commissioner McAllister.  
10 We introduced you while you were not  
11 here.

12 **MR. MCALLLISTER:** Yeah. I introduced you  
13 in abstention, but now everybody knows what you look  
14 like. So watch out.

15 **MR. FOO:** Thank you.

16 **MR. SHIRAKH:** Roger?

17 **MR. HEDRICK:** Okay. Thanks everyone.

18 I'm Roger Hedrick from NORESKO. We  
19 provide the CBECC software, and so I've done some  
20 analysis with that looking at specifically focusing on  
21 the impact of adding this new source energy metric to  
22 compliance. And so I did that by running eight  
23 different buildings, three variations of the office,  
24 two different retail, a school, a warehouse, and a  
25 high-rise residential model. All sixteen climate zones

1 using the new 2022 weather files.

2 The things I was asked to look at are the  
3 effects of using an all-electric building versus a gas  
4 building. What happens with certain efficiency  
5 measures. What happens when you want to trade-off  
6 envelope capability, envelope efficiency against  
7 something else, and then what can I say about grid  
8 harmonization.

9 So one of the things that I looked, and  
10 you'll recognize this graph from what Snu showed, I  
11 took the climate zone 12 and averaged the electric TDV  
12 and source energy metrics for each hour of the day for  
13 over the year. Top yellow line is the TDV, and the  
14 green line is the source energy, and as we've been  
15 talking about, they go low during most of the day, and  
16 I've superimposed there a little box that shows the  
17 primary level of activity for most nonres buildings,  
18 and it fits into that low value period pretty darn  
19 wall.

20 Now, this is a typical office kind of  
21 building, which is a lot of them, but if you look at  
22 retail or the hi-rise res, of course, doesn't fit that  
23 at all. But looking at this graph is really important  
24 when you then look at some of the results we're going  
25 to see later on, why are you seeing the kind of results

1 you're seeing? So this is a good thing to keep in  
2 mind.

3           So one of the things I did so I took each  
4 of those models, and I identified some alternative HVAC  
5 systems that someone might use, some of which are mixed  
6 fuel and some of which are all electric. And so I'm  
7 going to show three graphs like this from different  
8 buildings, but the right-hand side is the all-electric  
9 buildings, on the left is the gas heat buildings  
10 options, and one of them is intended to replicate the  
11 baseline.

12           So in this case the large office, the  
13 baseline system is a gas variable air volume built-up  
14 system with chilled water and a gas boiler hot water  
15 reheat. And so then I put in these other systems.  
16 I've got the water source heat pump on the gas part of  
17 it, but really, the gas is the gas boiler that's adding  
18 heat to the condenser water loop when it's really cold  
19 out. Most of the heating is actually being done by the  
20 heat pump. So it's really mostly a heat pump heated  
21 building.

22           So if you look at the two, the water  
23 source heat pump and the water source heat pump with  
24 electric boiler, they're practically identical. That  
25 means the heating is being done by the heat pump.

1 There's very little energy going into the -- being  
2 provided by the boiler. But you look at the four-pipe  
3 fan-coil, which is a gas boiler hot water heat system,  
4 and you see that by adding the source energy metric,  
5 which is the green bars, you're penalizing that system  
6 more than you did under TDV.

7 The electric systems, on the other hand,  
8 you see that the source energy is positive for all  
9 those systems and the limiting criteria in here is the  
10 TDV for those electrics. So what's happening is we're  
11 adding an additional limiting criterion to the gas heat  
12 system, which is source energy, but the electric  
13 systems continue to use the same TDV criteria in that  
14 they used before.

15 Then we look at the small office building  
16 and you see the same pattern. In these, the gas heated  
17 systems, which are the four on the left. In this  
18 case -- so except for the large source heat pump, which  
19 we have the same issue that we talked about before, but  
20 the single zone VAV air-conditioner, the gas package  
21 VAV, and the four-pipe fan-coil, again, source energy  
22 is lower than TDV in all these, which means that source  
23 energy becomes the limiting criterion.

24 You go to the right-hand side starting  
25 with the single zone heat pump, and all those electric

1 options, TDV, remains limiting, controlling criterion.

2 Now, you notice that on the last slide,  
3 we had some go up, some go down, and that's just an  
4 issue of the fact that the single zone air-conditioner  
5 that's used as the baseline system for this small  
6 office building is the worst performing system there  
7 is, and so everything else is better. That's not the  
8 case in the large office where the built-up VAV is a  
9 halfway -- is a decent system.

10 And then I looked at one addition here,  
11 the medium retail. So all the other buildings,  
12 nonresidential buildings, have the same kind of  
13 pattern, electric heat, TDV controls, gas heat, source  
14 energy controls, except for here in the medium retail  
15 where the single zone air-conditioner TDV controls.  
16 And so there's two things going on here, one is that  
17 that single zone air-conditioner, the reason that it's  
18 so bad is that you've got this large constant  
19 (indiscernible) fan that operates continuously. And  
20 then this one being retail, it starts to push into that  
21 evening peak, and so now, all of the sudden, you've got  
22 more energy being consumed in that high TDV range that  
23 you didn't have in the office buildings.

24 And so, in this case we're penalizing  
25 that high electricity consumption by the fans, and so



1 you're seeing that penalty there. And so basically the  
2 heating benefit of the source energy -- or the heating  
3 effect is small enough that it doesn't get -- it's  
4 being overwhelmed by the electric impact.

5           And then finally, the high-rise  
6 residential building is distinctly different in  
7 characteristic from the nonres buildings, of course, it  
8 operates, you know, there's consumption late into the  
9 evening, and water heating is much more significant  
10 here. So before where we saw the water source heat  
11 pump system, whether it had gas boiler or electric  
12 boiler behaving virtually the same, here they show very  
13 differently, and the reason for that is that along with  
14 this change in gas heat, electric heat, you're also  
15 seeing gas water heating versus electric water heating.

16           And so -- and but it's difficult to  
17 compare this because for water heating, alone, we have  
18 a change baseline with that change. And so, you know,  
19 if I wanted to actually look at the total therms or  
20 TDV, I have no idea which one of these is higher or  
21 lower. It's just that in terms of compliance margin,  
22 the baseline is changing and we're seeing a penalty for  
23 that gas water heating and you get a benefit for when  
24 you do electric water heating.

25           But again, with our gas heated systems,

1 source energy is the limiting criterion, and with our  
2 electric heating ones, TDV is still our controlling  
3 criterion. And so that's the story here is that gas  
4 heat source energy, electric heat TDV is the limiting  
5 issue.

6 The other thing I want to point out very  
7 quickly is that the compliance margin changes on all of  
8 these are quite large in terms of percentage, right?  
9 My scale here is going up to fifty percent, twenty-five  
10 percent, forty percent, fifteen here on for the high-  
11 rise res, minus twenty, but now, the next thing I'm  
12 going to look at is what is the impact of certain  
13 efficiency measures.

14 And so I've only got this one side  
15 because the same slide for all the other buildings look  
16 very similar, but notice that the deltas here are quite  
17 a bit smaller. So my scale is only going from six to  
18 minus ten is the largest negative number I have here.

19 And so the first three on the left are a  
20 reduction in lighting power density. The next one is  
21 an increase in heating efficiency, and that was a  
22 fifteen percent increase, and then a fifteen increase  
23 in cooling efficiency. And you can see that all of  
24 those increased, both metrics, but the electric change  
25 gives you a larger TDV benefit, whereas the heating

1 efficiency change in the gas heat case gives you a  
2 larger source energy benefit, pretty much as you would  
3 expect.

4           The other four on the right, those are  
5 all envelope, you know, reductions in performance. So  
6 I reduce the insulation. I increase the solar heat  
7 coefficient on my glazing. I increase the U-value of  
8 my glass, and then I increase the window-to-wall ratio  
9 to forty percent from I believe my original case was  
10 twenty percent.

11           And so again, you see -- as you would  
12 expect, you see reductions in performance with -- in  
13 all three of the -- so I'm going to leave out the solar  
14 heat coefficient. All three of the other ones, the  
15 insulation ones, you get a larger source energy  
16 penalty. So by adding source energy, we're making it  
17 more -- you know, we're give you a larger penalty for  
18 making your envelope worse.

19           The solar heat gain coefficient, what  
20 happens there is you by doing that, you're increasing  
21 the heat gain from solar, reducing your heating, but  
22 you're increasing your cooling, and so you see source  
23 energy go up and TDV go down because you're increasing  
24 electricity and reducing gas.

25           The right-hand side is the same cases

1       except for my electric heat baseline. Heating  
2       efficiency, you see no change because this is electric  
3       resistance reheat, and so it's already a hundred  
4       percent. So there's no change to be made. But other  
5       than that, they all pretty much track what we saw on  
6       the other case except that for my efficiency metrics,  
7       the difference between TDV and source is much smaller  
8       because it's all electricity.

9                     Okay. Questions? Thoughts?

10                    **MS. BROOK:** Martha Brook. I missed the  
11       part about why the envelope efficiency is not a good  
12       thing in either of the metrics.

13                    **MR. HEDRICK:** Well, all I'm saying is  
14       that by adding source energy as an additional metric --

15                    **MS. BROOK:** Yeah.

16                    **MR. HEDRICK:** -- you are -- now, that  
17       becomes the limiting factor on these -- you know,  
18       you're getting a larger penalty for decreasing your  
19       envelope performance.

20                    **MS. BROOK:** Oh, decreasing. Okay. Thank  
21       you.

22                    **MR. HEDRICK:** Right. These are  
23       decreases.

24                    Yeah. And so, you know, one of the  
25       things I thought of earlier and then of course I forgot

1 about completely as I got up here is that I realize  
2 that I had an underlying assumption behind all this,  
3 and that is how does compliance work? And I realized I  
4 hadn't talked about that at all.

5 So my working assumption on all of these  
6 is that the basic process is the same now. We have a  
7 baseline design, single baseline that has a fixed, you  
8 know, for a given building type, number of stories of  
9 floor area, you get this kind of HVAC system. You have  
10 this much insulation, all that stuff, and you compare  
11 your proposed design to that. You get a TDV, and you  
12 get a source energy consumption for the baseline, TDV  
13 and source energy for the proposed. If the proposed --  
14 if both of those two values are less than the  
15 corresponding baseline values, you comply. If one is  
16 higher, you don't comply. Both is higher, you still  
17 don't comply.

18 So that's my working assumption. And  
19 it's basically a single baseline that is not -- we --  
20 on commercial, we try to make the baseline as  
21 independent of the proposed as we can.

22 And so that leads into one thing I want  
23 to point out on this is that window-to-wall ratio even  
24 though I'm showing a decrease here, that's because I  
25 didn't change the baseline.

1           In reality, the window-to-wall ratio in  
2 the proposed will carry through to the baseline, and so  
3 you won't actually see this change in compliance  
4 because the baseline would have gotten larger as well.

5           **MALE SPEAKER:** It goes to above forty.

6           **MR. HEDRICK:** Unless you go above forty,  
7 yeah. If I had taken this to eighty, then that  
8 wouldn't have been true, but so the window-to-wall  
9 ratio is one case here where the baseline does track.

10           And then I just have a couple more. I  
11 wanted to look at grid integration, PV, battery things.  
12 And so one of the problems with doing this is that it's  
13 hard to -- how do you establish equivalency between PV  
14 and something else? And so what I did here for was I  
15 took a cooling efficiency measure that save X amount of  
16 kWh and then I took a PV system which generated that  
17 identical number of kWh, and what would the impact be  
18 in terms of TDV and source energy?

19           And so cooling efficiency are the blue  
20 bars here, and PV are the brown bars, and you can see  
21 that for both metrics, you get a much larger benefit  
22 from that cooling efficiency increase than you do from  
23 PV that generate the same amount of kWh, and it's more  
24 than twice for the source energy.

25           However, this ignores the course of

1 generating those two things. So really the comparison  
2 we would want to make is as a design team or as an  
3 owner, okay, you can put in a chiller that has a higher  
4 efficiency and it will give you this much savings, or  
5 you can take that amount of money and buy PV with it.

6 I don't know how much that gets you in  
7 terms of kWh savings relative to cooling efficiency  
8 savings. And that would be the comparison I would like  
9 to have, but I don't have the data to do that.

10 **MR. STONE:** Nehemiah Stone. This  
11 doesn't -- this particular one doesn't make sense to  
12 me, and maybe you can explain something. So if  
13 assuming the PV is on the building and you're not  
14 looking for PV that is utility scaled PV --

15 **MR. HEDRICK:** Right.

16 **MR. STONE:** -- it seems to me like the  
17 source energy multiplier ought to be one. And so the  
18 energy that you use in the heat pump or, you know,  
19 whatever you're using for chilling --

20 **MR. HEDRICK:** It's the chiller.

21 **MR. STONE:** Chiller, okay, would if you  
22 have to buy it -- in other words if your chiller is not  
23 as efficient, that would cost you more in terms of  
24 source of energy and the PV. So what am I missing  
25 there?

1                   **MR. MCALLISTER:** Do you want me to take a  
2 shot at that, Roger?

3                   **MR. HEDRICK:** Sure. But it's right here.

4                   **MR. MCALLISTER:** Oh, okay.

5                   **MR. HEDRICK:** So that PV is generating  
6 right around a low point in this TDV line, whereas the  
7 chiller efficiency is going to extend into that peak  
8 period in the evening. And so the value of those  
9 savings, of those kWh -- right. So the value of the  
10 kWh produced at 6 p.m. is, what; twice as high --

11                   **MR. STONE:** So you're basically saying  
12 that E3 had made a mistake.

13                   **MR. HEDRICK:** No, no, not at all.

14                   That's an intended result. I mean, we  
15 want things to save energy in that high speak period  
16 and cooling efficiency does that and PV doesn't.

17                   **MR. STONE :** It depends which mistake  
18 you're talking about, right? So yeah. I mean, the  
19 source energy factors for electricity are hourly  
20 reflecting the generation mix that's on the margin. So  
21 it's just the solar PV at the building is saving less  
22 source energy than the air-conditioning because air-  
23 conditioning goes into the evening, and we have a  
24 thermal generation generating electricity for that.

25                   **MR. HEDRICK:** Yeah. I mean, I was



1 pointing at the TDV line, but if you look at the source  
2 energy line, even though the absolute difference is  
3 small that -- during the day there, it's almost  
4 indistinguishable from zero, right? So the change at 6  
5 p.m. is -- orders the magnitude multiplied. You know,  
6 it's -- you know, it's not even double. It's ten times  
7 higher so.

8 **MR. STONE:** But that's a good value. I  
9 mean, at the building -- if you're using the energy at  
10 the building, then it shouldn't be the good value. It  
11 should be the --

12 **MR. HEDRICK:** Well, I'm avoiding using  
13 energy from the grid.

14 **MR. SHIRAKH:** That's what TDV is; am I  
15 right?

16 **MR. HEDRICK:** Yeah.

17 **MR. SHIRAKH:** (Indiscernible).

18 **MR. TIFFANY:** Tedd Tiffany. Roger, thank  
19 you very much for this. I'm wondering if this is going  
20 to inform new baselines for us? Is that the intent of  
21 this trying to find a new electric baseline that is  
22 kind of metric-neutral, I guess, is my first question?

23 **MR. HEDRICK:** You know, I'm not convinced  
24 that the baseline is -- you know, the baseline sets how  
25 stringent the overall code is, right, and by adding

1 source energy, we're adding a new criterion for gas  
2 heat systems and therefore making those systems more --  
3 we're adding stringency for those by adding the new  
4 metric, right? And then the baseline, you know, is --  
5 you know, so that's going to drive your system  
6 selection that make it more beneficial to use an  
7 electric heat system, or if you want to use an electric  
8 heat system, you're not going to be penalized relative  
9 to gas as much as you were in the past.

10 But then the other things that you have  
11 to do in terms of getting efficiency, you know, if we  
12 go -- you now, so -- let's see. Let me find a case.  
13 So here I've got single zone A/C on the medium retail,  
14 and I've got single zone A/C in the small office. And  
15 so really if I put that zero line on the small office  
16 graph, at the bottom of my single zone A/C columns,  
17 right? Now, all these other columns would be positive.

18 **MR. TIFFANY:** Um-hum.

19 **MR. HEDRICK:** You're not really changing  
20 the relative value of any of these systems, right?  
21 You're only changing what else do I have to do to  
22 comply, right? By -- oops. By going here where all  
23 these systems give me big credit, that means I don't  
24 have to do a bunch of other stuff to show compliance,  
25 right? If I put in a water source heat pump, boom, I

1 comply. I'm done, right? And in fact, I've got a  
2 bunch of compliance margin to play with, and I can  
3 do -- I can put in cheaper glass. I can do a bunch of  
4 stuff that maybe we don't want people to do.

5 And so you know, there clearly is a  
6 discussion to be had about what's an appropriate  
7 baseline. Is it appropriate that our baseline for this  
8 office building is this bad? That's a discussion to be  
9 had, but it's really outside the scope of what I'm  
10 talking about here.

11 **MR. TIFFANY:** Yeah. It's fair. It's  
12 informative.

13 **MR. HEDRICK:** Yeah.

14 **MR. TIFFANY:** I'm sorry it's  
15 (Indiscernible).

16 **MR. TAM:** I'm just going to chime in  
17 because, you know, obviously what we're doing is we're  
18 setting up to do case studies --

19 **MR. HEDRICK:** Yeah.

20 **MR. TAM:** -- to codes and standards and  
21 enhancement studies with these factors. So it seems  
22 like what one could do is go through all of the  
23 different building type baselines and figure out what  
24 cost-effective electrification or what cost-effective  
25 measures there are and ratchet up the baseline, and

1 then you would be -- you know, I think that's where  
2 you're going.

3 **MR. HEDRICK:** Yeah, yeah.

4 **MR. TAM:** And then that answers his  
5 question.

6 **MR. HEDRICK:** Yeah. I mean this really  
7 comes along the lines of aligning with ASHRAE 90.1  
8 baseline systems and that really caused a problem and  
9 it's causing a problem at the national scale and we're  
10 looking at it. The Lead Technical Advisory Committee  
11 is as well. And it really comes down to that question  
12 of metric or measuring buildings and then the baseline  
13 which we are comparing to.

14 I've done a lot of analysis with the TDS  
15 data from (indiscernible), and you know, marginal  
16 emission rates and the TDV values, and I've taken a  
17 building with this natural gas baseline where it's  
18 forty percent out of compliance on TDV and then it's  
19 thirty percent better on emissions and thirty percent  
20 better on TDS. And it's really informative that that  
21 prevents compliance with that baseline for the gas  
22 system, and that's where NRDC and I, we're working on  
23 some of those baseline issues and whether or not that  
24 is a four-pipe fan-coil, you know, in high-rise  
25 residential buildings is a realistic baseline.

1                   So the second element there is what I  
2 wanted to point out is almost every one of these  
3 comparisons is to electric resistance. And you know,  
4 heat pump, boiler, heat pump reheat loop --

5                   **MR. TIFFANY:** So my VAV systems, I'm  
6 using electric resistance reheat, but for example, this  
7 retail building, this is a heat pump?

8                   **MR. HEDRICK:** Yeah.

9                   **MR. TIFFANY:** And the small office, that  
10 was a heat pump?

11                   **MR. HEDRICK:** Yeah.

12                   **MR. TIFFANY:** And when I did res, that's  
13 a heat pump as well?

14                   **MR. HEDRICK:** Yeah. I just think it's  
15 going to be really informative when we have that  
16 capability to model heat pump and CVAC and, you know, a  
17 heat pump plus hot water storage applications as well  
18 is a very efficient and great responsive approach to  
19 that. So I think we need to consider that going  
20 forward.

21                   But thank you for all your hard work on  
22 this. I really appreciate.

23                   **MR. SHIRAKH:** Thank you. Any questions  
24 online?

25                   **MR. MCALLISTER:** Yes. We've got --okay.

1 Are there more questions in the room?

2 **MR. HEDRICK:** I have one more slide, a  
3 couple more slides.

4 So I also tried to look at battery  
5 storage. This is even harder for me to come up with an  
6 equivalent. And so what I did is I took a battery  
7 system that gave me the same TDV savings as PV, right?  
8 Because it doesn't really save energy. It actually  
9 increases your energy consumption. And you know, so  
10 ideally, again, I would like to do my first cost  
11 comparison, right? If I put on a 1,000 dollars' worth  
12 of PV versus a 1,000 dollars' worth of battery, what do  
13 I get, but I don't have that.

14 And so this is for different -- this is a  
15 sixteen climate zones and this is a battery system that  
16 gives me the same PV savings as a PV system. This  
17 shows how much the ratio of source energies savings  
18 that I got for that comparison. And so basically, I'm  
19 getting much larger source energy savings because  
20 again, we're shifting into that evening period when the  
21 source energy is much more valuable than it is during  
22 the middle of the day.

23 And then -- so conclusion, TDV remains  
24 the limiting criterion for all electric designs, but  
25 adding source energy becomes the new limiting criterion

1 for gas heating designs. Trading off envelope  
2 efficiency appears to give you a larger source energy  
3 penalty than it did TDV penalty, and both metrics give  
4 a similar signal when comparing PV to other efficiency  
5 measures, and source energy obviously greatly favors  
6 batteries.

7 Okay. That's all I have.

8 **MR. MCALLISTER:** Okay. Any other  
9 comments in the room before I go to the online  
10 comments.

11 **MALE SPEAKER:** Overall comments or this  
12 session.

13 **MR. STRAIT:** On this particular slide,  
14 and then we can -- I also have to open up the phone  
15 lines to the phones that dialers that don't have a  
16 login in case they have a desire to speak.

17 **MR. TIFFANY:** Sorry. Just one more, if  
18 we're not going to not allow trade-offs between the TV  
19 and TDS, that becomes an entirely limiting factor  
20 because if you can't comply with one, which you said in  
21 every case, that you can't comply with TDV for an all-  
22 electric building. That really prevents compliance at  
23 all the new metric with TDS. So --

24 **MR. HEDRICK:** Well, no. I'm not saying  
25 you can't comply with TDV. I'm just saying TDV is the

1 metric that is going to limit that is the one you need  
2 to worry about complying with.

3 **MR. TIFFANY:** Right. But if that becomes  
4 a compliant factor for TDF and a noncompliant factor  
5 for electric buildings under TDV and we're not allowing  
6 trade-offs between that, that becomes an entirely  
7 limiting factor with having to comply with both of --

8 **MR. SHIRAKH:** So what he's saying is you  
9 can comply with TDV and that's an area of that  
10 building, which we've always been doing, it  
11 automatically pass the EDR1, the source energy.

12 **MR. HEDRICK:** Yeah. That's -- oddly,  
13 it's the --(indiscernible).

14 **MR. SHIRAKH:** (indiscernible).

15 **MR. HEDRICK:** -- gas space line, Mazi.

16 **MR. SHIRAKH:** Yeah. Being all electric,  
17 you need to worry about TDV, not source energy. In  
18 mixed, you need to worry about source energy more than  
19 TDV.

20 **MR. HEDRICK:** So if you look at this  
21 graph, if you just pretended those green bars weren't  
22 there, right? They are all negative in terms of TDV,  
23 right? And so with gasVAV being zero because that's  
24 the baseline, and so that would favor you using a  
25 gasVAV system. That gives you your best benefit,



1 right?

2 But now, when we add source, that four-  
3 pipe fan-coil, which would have been reasonable before,  
4 now that becomes much more difficult to comply. The  
5 electric systems is the same as before, right? You had  
6 to do extra stuff to make them comply, but now they're  
7 easier relative to that gas alternative than they were  
8 before because we made the gas more difficult to  
9 comply.

10 **MR. TIFFANY:** Relative to gas --

11 **MR. HEDRICK:** Right.

12 **MR. TIFFANY:** -- if we're not going -- if  
13 we have to comply on TDV and TDS, none of those  
14 scenarios are going to show compliance for an  
15 electrified approach.

16 **MR. HEDRICK:** That's correct. With that  
17 system change alone, that's right. You'd have to do  
18 something else for all of these to get them to comply.  
19 Just like you did --you'd have to do now, today.

20 **MR. TIFFANY:** So that starts the argument  
21 of the fuel-neutral baseline for a nonres or --

22 **MR. HEDRICK:** Separate baseline.

23 **MR. TIFFANY:** -- a thoughtful approach to  
24 changing the baseline for these occupancies where it's  
25 a challenge. So that's where we need to go for the

1 next set of standards.

2 **MALE SPEAKER:** I don't think we're  
3 looking for a fuel-neutral baseline. I think we're  
4 trying to meet both of these objectives with the best  
5 building, but a single baseline may be preferable in  
6 the future. It's, you know, not so differentiated by  
7 equipment type. I'll probably stop there because I  
8 don't know much about these buildings.

9 **MR. HEDRICK:** No. I'm having the same  
10 challenge with the ASHRAE baselines with the technical  
11 committees for ASHRAE, and it comes down to the metric  
12 or the baseline and we've had this discussion in  
13 residential and we've come up with a fuel-neutral  
14 baseline.

15 So ASHRAE had for the longest time a  
16 fuel-neutral baseline up until the 2013 90.1 standards.  
17 And so we need to go back to that or allow an average  
18 of these metrics to show compliance because you're not  
19 going to show compliance for an electrified, even an  
20 efficient-electrified building under TDV. And if  
21 that's going to be a limiting compliance factor -- and  
22 the EDR for residential says you have to comply with  
23 each EDR, right, for TDV and the source to show  
24 compliance with that building.

25 What you're showing here is that if

1 you're not meeting the TDV value and you just showed  
2 that you cannot show compliance for any of those  
3 electrified approaches under TDV, you have a  
4 noncompliant building.

5 **MS. BROOK:** I think this great comment.  
6 This is Martha.

7 **MR. HEDRICK:** I know we're running out of  
8 time.

9 **MS. BROOK:** I think that I'd like to talk  
10 more about it, because in my opinion, the main reason  
11 you do EDR2 with TDV is for electricity demand  
12 flexibility and storage. It's not for gas. Gas gets  
13 treated in EDR1.

14 **MR. HEDRICK:** Right.

15 **MS. BROOK:** And so if we're -- by  
16 mistake, throwing gas back into the picture in EDR2,  
17 that's what we need to talk about.

18 **MR. HEDRICK:** Yeah. I'd be happy to have  
19 that conversation with you.

20 **MS. BROOK:** Yeah.

21 **MR. HEDRICK:** I've had it for the last  
22 three years with the ASHRAE Technical Committee.

23 **MS. BROOK:** Yeah.

24 **MR. HEDRICK:** So I'll fill you in on the  
25 history.

1                   **MS. BROOK:** To be continued.

2                   **MR. SHIRAKH:** Any other comments in the  
3 room or online?

4                   **MR. STRAIT:** There are some online. Let  
5 me start with the earliest. What was the last one?  
6 There it is.

7                   Dan Johnson had a question. It's on  
8 slide 7. "It seems justified by cost-effectiveness to  
9 change the baseline for small office to one of the heat  
10 pump systems, that is VRF rather than gas fire single  
11 zoning C. Is there any baseline that should remain gas  
12 based on our 2022 metrics?"

13                   **MR. HEDRICK:** That's a discussion to be  
14 had.

15                   **MR. MCALLISTER:** Right.

16                   **MR. HEDRICK:** I will say I don't think we  
17 would go for building-specific baselines, like split it  
18 for small office, not split it for others, have some be  
19 gas, or some be electric. Playing hopscotch building  
20 different building types would be drastically more  
21 complicated. So if that's where the question was  
22 going, I'm not sure we would do that even if we had  
23 separate independent two baselines or one fuel-neutral  
24 baseline.

25                   Then follow-up slide 10, also from Dan

1 Johnson --

2 **MR. STONE:** Before you go on, can I  
3 comment on that?

4 **MR. HEDRICK:** Sure.

5 **MS. STONE:** Nehemiah Stone, Stone Energy.  
6 That is on high-rise residential, and I --

7 **MR. HEDRICK:** Yeah.

8 **MR. STONE:** -- thought the discussion  
9 that we've been having all along is that we will unify  
10 all multifamily low-rise through high-rise, in which  
11 case the baseline for this building will be different  
12 than for other high-rise buildings. So it will be  
13 similar -- more similar per square foot than to the  
14 low-rise multifamily.

15 **MR. HEDRICK:** Sorry. I mean  
16 specifically, the nonres building types. We've got  
17 sixteen, I think, different prototypes for those.

18 **MR. STONE:** The question is on this slide  
19 which is high-rise residential.

20 **MR. HEDRICK:** I forgot to mention that  
21 also this slide uses the old baseline. We've already  
22 made a change to the baseline for the high-rise res  
23 models. And so that change in baseline was not  
24 incorporated in this analysis. This still uses the old  
25 baseline. So all these will move up under the new --

1 using the new baseline, the new software, so.

2 **MR. STRAIT:** And I apologize. Because  
3 Dan had mentioned small office, I thought Dan's comment  
4 was relative to small office, even though slide 7 which  
5 he named, was about res rather than small office. So  
6 that's my fault.

7 Dan Johnson then had a follow-up, slide  
8 10, "Source impact of battery manufacturing needs to be  
9 considered just like gas leakage and refrigerant global  
10 warming potential and the entry delivery stream" -- oh,  
11 and then follow up later, Dan Johnson didn't mean slide  
12 6 rather than 7 with his earlier comment on small  
13 office which he just told us.

14 Thank you, Dan.

15 Other comments from Enna Doletseva  
16 (phonetic). "Have you tried to look at office with  
17 window-to-wall ration sixty or higher? This is most  
18 common office design, not window-wall ratio of twenty."  
19 Thank you.

20 **MR. HEDRICK:** We have looked at that. I  
21 can easily generate a model like that. I don't have  
22 any of those results here.

23 **MR. STRAIT:** Okay. Bill Dakin. On slide  
24 7 -- and literally slide 7 this time. "What was  
25 assumed for water heating in the model high-rise

1 residential on the electric building runs?"

2 **MR. HEDRICK:** Those are individual unit  
3 heat pump water heaters.

4 **MR. STRAIT:** Okay. Neil Bulger,  
5 (phonetic) on slide 8, "wouldn't all of the large  
6 office electric heat buildings in the chart on the  
7 right be compared with a large office with gas?"

8 **MR. HEDRICK:** That's -- well, so what I'm  
9 showing here is if you start with an electric heat  
10 system and then you make these other changes, what's  
11 the impact? And so I'm comparing -- these are changes  
12 compared to the PTHP proposed design, not to the  
13 baseline. And so -- sorry, not to PTHP. GasVAV with  
14 electric resistance reheat. So I'm showing the change,  
15 you know -- I've already decided on my proposed on my  
16 proposed HVAC system, and now I want to get some extra  
17 compliance margin or I've got compliance margin to  
18 burn, what can I -- what do I get by making these other  
19 changes?

20 **MR. STRAIT:** And then a follow up from  
21 Neil Bulger. "Is the four-pipe fan-coil based on  
22 variable volume fan-coils or constant-volume-fan-coil?"

23 **MR. HEDRICK:** Constant volume.

24 **MR. STRAIT:** I believe that is all from  
25 the online comments.

1                   **MR. HEDRICK:** Okay.

2                   **MR. STRAIT:** Before we move on there were  
3 a number of participants that were only on their  
4 phones. They didn't have an ability to raise their  
5 hand or type into chat box. I'm going to unmute those  
6 lines. Only five of them.

7                   Are there only call-in-only users that  
8 would like to make a comment at this time?

9                   (No audible response)

10                  **MR. STRAIT:** Hearing none, I'm going to  
11 remute those lines.

12                  **MR. SHIRAKH:** Okay. Any general comments  
13 about the workshop?

14                  **MR. STONE:** Yeah. I have three. One is  
15 that the -- let me get my glasses so I don't make a  
16 mistake here. I want to reemphasize what Peter said  
17 and what I said in the last two iterations of the  
18 standards that we -- we ought to be including the cost  
19 of gas infrastructure when we're doing the cost-  
20 effective analysis because electric infrastructure is a  
21 sunk cost. You're not going to run your lights and  
22 your washing machine on gas. So you have to have the  
23 electric infrastructure there. Gas is not required,  
24 and according to the utilities that we've looked at,  
25 the cost for multifamily is somewhere between 300 and



1 1,000 dollars per dwelling unit, and for single family,  
2 it's somewhere between 9 and 16,000 dollars per home.  
3 That's a major cost for having gas in your buildings,  
4 and that ought to be included in the cost-effective  
5 analysis.

6 Second is a new concept that I think we  
7 ought to be considering and that is the buildings with  
8 a carbon sink. We've talked about embodied carbon  
9 before in terms of what goes into materials to build  
10 buildings, primarily wood buildings and other organic  
11 materials like that can act as a carbon sink, and as we  
12 get closer and closer to a low operational carbon  
13 footprint, we need the -- it takes more and more years  
14 to make up for the carbon that was used in making the  
15 building, and if we look at the buildings differently  
16 as a place where we can sink that carbon, that will  
17 lead us to the right direction in the global -- in our  
18 global warming goals.

19 And on that, I'd like to recommend a book  
20 by Bruce King, an engineer, called The New Carbon  
21 Architecture where he goes into this in detail and  
22 shows the different materials you can use that -- and  
23 different buildings where it's already being done,  
24 where they're not only carbon-neutral in construction,  
25 they're actually carbon-positive rather than carbon-

1 negative.

2 And lastly, it doesn't exactly pertain to  
3 what this is about, but I want to reiterate it, and  
4 every chance I get to the microphone, I will do so.  
5 Multifamily buildings are not single-family buildings,  
6 and a lot of the metrics we use in the analyses are  
7 based on research in single-family buildings. Lighting  
8 in single-family buildings, we don't know that it's the  
9 same schedule or the same power density as multifamily  
10 because that hasn't been researched.

11 HVAC schedules, DHW, the study that Jim  
12 Lutz (phonetic) did and Bruce Wilcox did on DHW  
13 schedules was all based on single family, and they  
14 admit that it probably does not represent the hot water  
15 use schedules for multifamilies. So I'd like to  
16 encourage some of the investment in research in those  
17 areas so that we can get multifamily building analysis  
18 done correctly. Thank you.

19 **MR. SHIRAKH:** Thank you, Nehemiah. Any  
20 other general comments?

21 **MR. NESBITT:** George Nesbitt. So you can  
22 currently by hundred percent renewable electricity or  
23 a hundred percent carbon-free. So I can convert my  
24 house. Just need equipment. The heck with the  
25 enclosure, and I'm done, right? I think not. I think

1 it's important that we don't use energy we don't need.  
2 So as we've -- many have said, and we often said,  
3 trading off the efficiency of the enclosure is a bad  
4 idea because they last longer, they're harder, and  
5 they're more expensive to fix.

6           So our code should really reflect that,  
7 and that's where I think Passive House approach of  
8 setting the budget for heating and cooling meet that  
9 budget as well as meeting a source energy budget  
10 achieves both goals well because there is no trading  
11 off the efficiency of your equipment. Although, I  
12 suppose that's actually a part of meeting that budget,  
13 but that budget is small.

14           And so how we set budgets for buildings,  
15 we're setting budgets way too high. We're building  
16 buildings that are using way more energy than they  
17 need. So the other thing we have to think about, we  
18 have these long-term goals. We kind of know where we  
19 need to be. How does our code today reflect that? We  
20 need to think if we're going to have a separate budget  
21 for a gas building and an electric building, does that  
22 actually encourage anyone to electrify? Probably not.

23           So if -- how do we in the short term get  
24 people to install the highest efficient gas equipment  
25 if that's what they do, but we also need to plan for

1 the future conversion. So just as you cycled back with  
2 water heaters, we decided, well, you need to have an  
3 electrical outlet so you can get a heat pump. Or you  
4 need to have a flue vent for a high efficiency piece  
5 of equipment.

6 So if you're installing gas maybe, you're  
7 installing a gas dryer. Maybe you need to also wire it  
8 for electric dryer. Same with gas stove, you need to  
9 wire it also for a gas stove. You need to think about  
10 if you install the gas furnace how can it be converted  
11 to electric down the road. Because I mean, the life of  
12 equipment varies. Typically, it is shorter than the  
13 building, itself.

14 **MR. TIFFANY:** Tedd Tiffany, Guttman &  
15 Blaevoet. Just wanted to thank you all for your very  
16 hard work and have been struggling with these issues  
17 with ASHRAE for a long time on the baseline issues and  
18 the metrics. The Technical Advisory Committee for  
19 Leads has been struggling with the metric change for  
20 quite a bit, and your job is not easy, nor is my job  
21 trying to figure out what that metric should be the  
22 best metric. And I just want to encourage you guys,  
23 that you guys have done some really hard analysis and  
24 not yet to the conclusions, and I'm here to help you  
25 guys have that conversation and set good metrics. And

1 I want you to be open to challenging both your metrics  
2 and your baselines as you go through this, and not  
3 allow ASHRAE and the alignment with ASHRAE to be your  
4 driving force, but to be a driving force in that  
5 decision-making process and help them evolve faster  
6 with what we're doing in California.

7 So challenge yourselves. I know you guys  
8 are really challenged as you are right now, and you're  
9 doing some fantastic work. So thank you, and keep  
10 challenging yourselves.

11 **MR. SHIRAKH:** Thank you. Any other  
12 comments in the room or online?

13 (No audible response)

14 **MR. SHIRAKH:** With that, we'll close the  
15 first workshop of the '22 standards, and please submit  
16 your comments on November 30th, if you have written  
17 comments.

18 **MR. MCALLISTER:** November 13th is the  
19 what Mazi meant, and also we will post documents on the  
20 web tomorrow.

21 (End of Recording)

22  
23  
24  
25

