

DOCKETED	
Docket Number:	19-SB-100
Project Title:	SB 100 Joint Agency Report: Charting a path to a 100% Clean Energy Future
TN #:	231075
Document Title:	Transcript - SB100 Technologies & Scenarios Workshop November 18, 2019
Description:	N/A
Filer:	Harinder Kaur
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	12/10/2019 3:02:30 PM
Docketed Date:	12/10/2019

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the matter of,)
)
SB100 Joint Agency Report:)
Charting a path to a 100%)
Clean Energy Future)

SB100 TECHNOLOGIES & SCENARIOS WORKSHOP

CALIFORNIA PUBLIC UTILITIES COMMISSION

505 VAN NESS AVENUE

SAN FRANCISCO, CALIFORNIA 94102

MONDAY, NOVEMBER 18, 2019

9:30 A.M.

Reported By:
Elise Hicks

APPEARANCES

Commissioners Present

David Hochschild, Chair, California Energy Commission

J. Andrew McAllister, Commissioner, California Energy Commission

Liane Randolph, Commissioner, California Public Utilities Commission

Staff Present

Aleecia Guterrez

Le-Quyen Nguyen

Noemi Gallardo, Public Adviser

Presenters & Panelists Present

Siva Gunda, California Energy Commission

Ryan Schauland, California Air Resources Board

Christopher McLean, California Energy Commission

Jason Ortego, California Public Utilities Commission

Arne Olsen, E3

James Barner, LADWP

Erica Bowman, Southern California Edison

Jonah Steinbuck, California Energy Commission

Leila Madrone, Sunfolding

Johnny Casana, Pattern Energy

Adam Stern, Offshore Wind California

Tim Latimer, Fervo Energy

Dr. Stephen R. Kaffka, University of California, Davis

Miguel Sierra Aznar, Noble Thermodynamics

CALIFORNIA REPORTING, LLC

229 Napa St., Rodeo, California 94572 (510) 313-0610

Presenters & Panelists Present

Jessica Lovering, Carnegie Mellon University

Janice Lin, Green Hydrogen Council

Alex Morris, California Energy Storage Alliance

Mary Ann Piette, Lawrence Berkeley National Laboratory

Public Commenters

Eddie Ahn, Brightline Defense

Maya Batres, Nature Conservancy

George Peridas, Lawrence Livermore Lab

Ryan McCarthy, California Hydrogen Business Council

Ed Smeloff, Vote Solar

Janice Lin, California Energy Storage Alliance

Brian Tarroja, University of California, Irvine

Elise Hunter, Grid Alternatives

INDEX

	Page
Welcome & Opening Remarks	7
Chair David Hochschild, CEC	31
Commissioner J. Andrew McAllister, CEC	8
Commissioner Liane Randolph CPUC	7
SB100 Joint-Agency Report Overview - Siva Gunda, CEC	10
Report background and goals	
Timeline and next steps	
Options for Defining Eligible Electricity Resources under SB100 - Ryan Schauland, CARB	20
Bill Language & interpretations	
SB100 Analysis Planning - Christopher McLean, CEC	32
Modeling assumptions	
Planned SB100 analysis	
Existing Directional Studies	
Integrated Resource Plan, Jason Ortego, CPUC	40
Long-Run Resource adequacy under Deep Decarbonization Pathways for California, Arne Olsen, E3	55
LA100, James Barner, LADWP	70
Pathway 2045, Erica Bowman SCE	80
Public Comment	96
12:01PM - 1:08PM lunch	

INDEX

	Page
Renewable, Zero-Carbon, and Enabling Technologies	
Introduction - Jonah Steinbuck, CEC (Moderator)	111
<u>Session 1</u>	
Solar PV, Leila Madrone, Sunfolding	115
Onshore wind, Johnny Casana, Pattern Energy	122
Offshore wind, Adam Stern, Offshore Wind California	134
Geothermal, Tim Latimer, Fervo Energy	140
Biomass & Biofuels, Dr. Stephen R. Kaffka, UC Davis	149
<u>Session 2</u>	
Gas Plant Retrofits, Miguel Sierra Aznar, Noble Thermodynamics	177
Emerging Nuclear, Jessica Lovering, Carnegie Mellon University	186
Energy Storage, Alex Morris, California Energy Storage Alliance	198
Hydrogen, Janice Lin, Green Hydrogen Council	208
Demand Flexibility, Mary Ann Piette, Lawrence Berkeley National Laboratory	219
Public Comment	242
Closing Comments	244
Adjournment	247
Reporter's Certificate	248
Transcriber's Certificate	249

P R O C E E D I N G S

1
2 NOVEMBER 18, 2019

9:30 A.M.

3 MS. GUTERREZ: Good morning. If everybody can
4 just take their seats, we'll go ahead and get started.
5 Okay, welcome to our SB100 Technologies and Scenarios
6 Workshop. My name is Alicia Guterrez. I'm with the
7 California Energy Commission.

8 Today is an exciting workshop. A full day of
9 activity and information coming from stakeholders and
10 experts that are all looking ahead to the clean energy
11 future of a hundred percent renewables.

12 So, we will have some panels on scenarios today,
13 looking at key trends and outlooks to 2045. We're also
14 going to be looking at the resource mixes for modeling
15 work that we'll be doing for SB100 and assessing those
16 resource mixes along the way.

17 ARB will present some proposals on how we define
18 zero-carbon resources. We will present modeling
19 assumptions and new analyses.

20 And then, we'll have an afternoon session
21 looking at renewable and zero-carbon enabling non-
22 generation technologies that are key to implementing
23 SB100.

24 So, this morning we will kick our workshop off
25 with opening comments from Commissioner Andrew

1 McAllister, and our principal for SB100, Commissioner
2 Liane Randolph from the CPUC.

3 We will also queue up Chair Hochschild once he
4 arrives, for his opening comments.

5 Go ahead. Thank you.

6 COMMISSIONER RANDOLPH: Good morning everyone,
7 thank you for coming to this technical workshop. As
8 some of you have participated in over the last few
9 months, we've had scoping workshops around the state in
10 Fresno, Redding, and Diamond Bar about the SB100 report.
11 And we've heard a lot of perspectives from a lot of
12 different stakeholders about equity issues, land use
13 issues, reliability, affordability, and, so, we have
14 appreciated listening to all of that perspective.

15 Today's workshop is going to be a technical
16 workshop where we start to look at key technology trends
17 and outlooks that will help us achieve the SB100 goals.

18 To my mind, one of the benefits of the SB100
19 report, it gives us an opportunity to not only see where
20 we are in terms of gauging our progress, but also helps
21 us identify what technology opportunities are out there,
22 and help us think about planning to that SB100 goal.

23 So, I appreciate everyone's participation. I'm
24 going to apologize in advance, I ran into a conflict
25 this morning that came up, after we scheduled this. So,

1 I'm going to duck out for a little bit. Hopefully, just
2 for the morning and be back in the late morning and for
3 the afternoon session, if all goes well.

4 So, thanks for participating and I will turn it
5 over to Commissioner McAllister.

6 COMMISSIONER MCALLISTER: Thank you,
7 Commissioner Randolph. Well, thanks for hosting here,
8 hosting us at the CPUC. We really appreciate the
9 partnership. And also, ARB today presenting. I think
10 it further emblematic of just how closely we're working
11 together across agencies on SB100, as required by
12 statute but, really, just as required by common sense
13 and good policy. So, really happy to be here.

14 And, certainly, the ground rules, and the
15 definitions, and the modeling tools, and the assumptions
16 all really matter for getting SB100 right over time.
17 And so, we're still -- you know, we're really in the
18 early phases, defining the landscape under which, you
19 know, on which we're going to operate over the next
20 couple decades, getting us where we need to go.

21 So, this is, as Commissioner Randolph said, a
22 technical workshop. And so, this is where the sleeves
23 start to get rolled up and we really start focusing and
24 understanding on focusing on the pieces that need to fit
25 together well in the real world to maintain a reliable

1 system that moves us inexorably towards clean energy.

2 So, I think I've said it at every workshop, but
3 it seems to sort of keep the focus on the right things.
4 That this is not just RPS on steroids, right, this is --
5 this is not just RPS on steroids, I'll say it again.
6 It's really a system reliability planning exercise in a
7 context of deep clean energy. And so, I really think
8 the tools and -- I mean, reliability has to be job one.
9 You know, we're talking about resilience, and fires, and
10 building the system that we need in the future, and so,
11 all these challenges have to come together in a way that
12 maintains and enhances reliability.

13 And so, I personally am really looking forward
14 not only to the morning and the modeling questions, but
15 also the afternoon where the technology, the non -- you
16 know, distributed technologies and different forms of
17 generation, certainly, but also non-generation options
18 and non-wires options are going to help us reach our
19 goal for decarbonization. And so, I think that's got to
20 be a core piece of the solution.

21 And, you know, personally, I think that it's
22 relatively under baked, and so that's a place where we
23 really have to make a lot of strides, and figure out how
24 the system's going to work and be resilient at the local
25 levels, at the distribution system level.

1 So, I think that's -- I'm looking forward to
2 that today. So, with that, I'll wrap up and pass it
3 back to Aleecia.

4 Thanks everyone for coming. I think it's going
5 to be a really exciting day, so thank you.

6 MS. GUTERREZ: Thank you, Commissioners.

7 So, now, we will turn it over to Siva Gunda, who
8 will be presenting on our SB100 Joint Agency Report
9 Overview.

10 MR. GUNDA: Good morning everyone. Thank you
11 again for joining us for the first SB100 technical
12 workshop. I'm Siva Gunda. I'm the Deputy Director for
13 the Energy Assessments Division at the California Energy
14 Commission.

15 So, I would like to go through the overview of
16 the report process and what we're hoping to do, and some
17 of the timelines.

18 Thank you. As most of you are aware, the SB100
19 bill not only calls for a 60 percent RPS by 2030, but
20 also sets that it's the policy of the state that
21 eligible renewable resources and zero-carbon resources
22 supply 100 percent of all retail sales of electricity to
23 Californians by December 31st, 2045.

24 The bill also requires that the achievement of
25 this policy does not increase the emissions in the

1 Western Grid and, also, does not allow for resource
2 shuffling.

3 The bill furthermore requires a Joint Agency
4 Report for the Legislature in a periodic fashion.

5 The planning for the Joint Agency Report started
6 in earnestness earlier this year with the formation of
7 the Interagency Principals Group that includes Chair
8 Hochschild, from CEC, Commissioner Randolph from CPUC,
9 and Chair Nichols from CARB. The group, the principals,
10 the SB100 principals are the high level leadership for
11 the interagency group to provide both guidance, as well
12 as a structure and process.

13 Below that, below the principals we've created
14 an interagency staff, a collaborative process and
15 structure, and that allows for regular contact with each
16 other and discuss, and move forward on developing the
17 report.

18 Obviously, an important part of this report
19 development process is the engagement with the
20 stakeholders. So, as you see in the chart here that's
21 highlighted through the workshops, and the docket that
22 we've developed, we want to ensure that the stakeholder
23 input is well heard and fostered through the process.

24 Another important element that the SB100 bill
25 calls for is the engagement with the balancing

1 authorities. To that end, we've developed a Balancing
2 Authorities Working Group. We've had a kickoff meeting
3 just before we did our scoping workshops, and we are
4 going to engage with them periodically, specifically on
5 the reliability issues.

6 Some of the --

7 (Technical difficulties)

8 MR. GUNDA: Okay. All right. So, the
9 interagency collaboration process, one of the key things
10 is each of our agencies has a very different perspective
11 based on our statutory requirements. And the
12 interagency coordination allows for a robust discussion
13 of these various points of view.

14 So, just kind of highlighting the language from
15 the Joint Agency report, the bill basically calls for in
16 consultation with the California balancing authorities,
17 through a public process issue a Joint Agency report by
18 January 1st, 2021. That's only about 14 months away at
19 this point. And at least every four years after that.

20 And it specifically includes language on
21 developing technical review of the policy, potential
22 benefits and impacts on system and local reliability,
23 nature of anticipate financial costs and benefits to
24 utilities, barriers and benefits of achieving the
25 policy. And, most importantly, also developing and

1 looking at alternate scenarios to achieve the policy.

2 So, based on some early guidance that we've
3 received from the SB100 principals, we've laid out four
4 principle goals as we embark on developing the report.

5 So, the first one is to ensure that the statutory
6 requirements of the report are actually met. And this,
7 we hope, is done through having a robust public process.

8 So, as we develop our interim steps and talk to
9 the public in these workshops, we hope to receive ample
10 feedback and ensure that the statutory requirements are
11 well honored in the spirit of the bill.

12 The second thing is to provide direction to the
13 electricity market. This is to make sure, since we're
14 looking at a 25 to 30 year plan, ensuring that the
15 market has clear direction as we embark on the SB100
16 process.

17 This, for example, can be done through clearly
18 articulating what technologies or what generation
19 technologies would be considered as zero-carbon
20 resources and laying out the attributes that are
21 potentially qualifiable for this process early on in the
22 process.

23 Third is to coordinate a planning process of
24 state agencies. As most of you know, each of the
25 agencies, even the three of us in the room here, the

1 CEC, CPUC and the CARB, we have a lot of modeling work
2 that we all do for our own statutory requirements, and
3 this is an opportunity for all of us to align some of
4 the common assumptions to the point we can, and then
5 adopt common tools and assumptions to the extent
6 possible. So, the modeling that we do for SB100, but
7 also the various other paradigms, such as the IEPR, the
8 IRP, and the Scoping Plan all have some way of aligning
9 around the electricity sector.

10 And, finally, form consensus on interpretation
11 of the statute. This is kind of going back to the
12 earlier point about the zero-carbon resources, what
13 exactly does that mean?

14 So, my colleague, Chris, the next presentation,
15 is going to lay out some of the modeling assumptions,
16 and then kind of our view. My colleague from CARB is
17 going to talk about our preliminary interpretation of
18 what zero-carbon resources could be as we think about
19 modeling.

20 Liz, can you give me a hand? So, as we do this,
21 some of the key considerations we have to think about,
22 some of these are explicitly called out in the bill and
23 some of them are not, is to look at the reliability.
24 What exactly on the 2045 grid, supporting a zero-carbon,
25 100 percent zero-carbon resources really look like, and

1 what the potential reliability issues?

2 An important aspect that Commissioner Randolph
3 mentioned in her opening comments, that we heard over
4 and over, is really the energy equity. How do we make
5 the solutions that we pursue and kind of lay out in
6 SB100 are equitable, in the sense that it provides all
7 Californians the same opportunities?

8 Finally, think about innovation and emerging
9 technologies. We're going to talk about this
10 extensively this afternoon, looking at some of the
11 emerging technologies and how do we think about the
12 zero-carbon resources.

13 Other aspects are affordability. This is
14 something that we are not going to be able to quantify
15 very well in the first report. To the extent the
16 modeling will reveal the total system costs, and that's
17 something we're going to discuss in the report. But the
18 actual rate impact is something that we have to continue
19 thinking about as we move forward.

20 Another thing is the resource diversity and
21 flexibility. To the extent how does the whole western
22 interconnect, and the resource flexibility and diversity
23 affect the SB100 goals.

24 I'm just going to lay out, at a high level, the
25 workshop topics we've conducted since September 5th at

1 our kickoff workshop in Sacramento, followed by three
2 workshops on scoping. So, basically, we laid out what
3 we're thinking and heard from stakeholders, their
4 perspectives on equity, reliability, and such. And we
5 were able to take adequate notes on that and hope to
6 really integrate that, as we move forward into our
7 modeling.

8 Moving forward, though, apart from the scenarios
9 and technologies workshop today, we're looking at some
10 of these key topics for specific workshops, which is
11 electricity system modeling. As Commissioner McAllister
12 mentioned, the SB100 report is really about a
13 comprehensive system modeling and ensuring that the
14 system modeling that we do clearly lays out the
15 reliability issues and the resiliency issues as we move
16 towards the SB100 goals 2045.

17 Affordability is another topic we are hoping to
18 have a workshop around. We've touched upon equity a lot
19 during our scoping workshops, but that's something,
20 based upon the amount of interest and the importance of
21 that, we hope to touch on in a workshop on that.

22 The other one, with the balancing authorities,
23 is to talk about the reliability needs. So, we're
24 hoping to have one workshop specifically discussing the
25 reliability system resiliency.

1 Just to kind of touch upon and tee up the
2 conversation for the rest of the day, the work, the
3 report itself, we look at it as two specific parts.
4 There's going to be a quantitative element through
5 modeling that we hope to achieve in the next six months
6 or so. But a lot of topics that we laid out will be
7 touched upon qualitatively for the very first report.

8 For example, on the quantitative side, our hope
9 is to really build upon the IRP modeling. CPUC has done
10 really good work and extensive work on the 2045
11 scenarios, just for the jurisdictional, which we hope to
12 expand to the California statewide modeling effort. So,
13 that's something Chris is going to talk about in a few
14 minutes.

15 As discussed, the modeling that CPUC has done
16 previously, and which we are going to do, will evaluate
17 some of the costs and benefits from a system cost
18 perspective, but the rates will not be a part of that
19 discussion.

20 So, even though we will be touching upon
21 quantitatively slighted on some of the topics to your
22 right, which are under the qualitative side, most of
23 those topics will be qualitative.

24 For example, today's discussion this afternoon
25 will kind of set up a record on the technology trends.

1 And some of the key assumptions are the costs moving
2 forward and what kind of Technology's qualified for
3 this. This will be a continual record, year after year,
4 as we move forward. So, with each year there will be a
5 qualitative aspect, but some of that will be translated
6 quantitatively into the assumptions.

7 The system benefits reliability is something we
8 do not expect to delve into very deeply for the very
9 first report. But with our working group, with the
10 balancing authorities, we hope to develop a solid
11 framework on how to pursue this moving forward.

12 On the energy equity and affordability, as I
13 said we're going to have the total cost, but not
14 necessarily the rates, and that's something we'll be
15 looking into as we move forward.

16 Environmental implications is something we
17 cannot stray away as we do the SB100 work, so that's
18 something we will be qualitatively touching upon. But
19 as we move forward and start kind of coordinating with
20 other agencies, not just the three that are mentioned
21 today, we'll look into how to tee them up, tie them up
22 into our broader analysis.

23 Finally, looking at the interactions with other
24 sectors, basically, how does electricity sector become a
25 backbone for decarbonizing other sectors potentially

1 would be addressed moving forward, but qualitatively
2 discussed in this report.

3 Just providing a timeline, just backwards,
4 January 1, 2021 is the report due to the Legislature.
5 That's something we'll be working backwards from. Early
6 summer is when we hope to have the draft report
7 available for comment. We have three agencies and a
8 broad public process, so we expect at least six months
9 for the review process, and also have a couple of
10 workshops both providing the preliminary results, as
11 well as the final drafts.

12 By spring, we hope to finish most of our
13 workshops that will kind of go into our draft report.

14 From an engagement stand point, we thank you
15 again for being here today and we really hope you
16 provide your comments through the docket, as well as
17 verbally today.

18 To that end, we have an SB100 website, a
19 dedicated website that's hosted at CEC. That provides
20 up to date information on the events, links, and also
21 there's an opportunity there to subscribe to the
22 Listserv and submit comments.

23 So, with that, thank you.

24 MS. GUTERREZ: Thank you Siva. Also, I'd like
25 to ask everyone, on your way out, if you wouldn't mind

1 signing in with our Public Adviser. They're keeping a
2 record of attendees in the room and can also get you
3 connected with the Listserv.

4 So, next on the agenda we're going to hear about
5 options for defining eligible electricity resources
6 under SB100, from Ryan Schauland, from the California
7 Air Resources Board.

8 MR. SCHAULAND: All right, good morning
9 everybody. I'm Ryan Schauland, with CARB. Thanks
10 Commissioner, thanks CEC, and thanks to CPUC for hosting
11 today. I am the Manager of the Emissions Data Quality
12 Assurance Section at CARB. So, I got involved in this
13 work because my group oversees the reporting and
14 verification of the data that gets reported under the
15 mandatory reporting for greenhouse gas emissions. So,
16 that's the data that gets used for the state greenhouse
17 gas inventory, as well as the Cap and Trade program.
18 And a lot of my background in that work, prior to me
19 being a manager, was dealing with accounting issues
20 related to imported electricity, so that's where I'm
21 coming from.

22 So, today, I'm going to discuss some options for
23 defining eligible electricity resources under SB100.
24 So, as we begin modeling what the electricity grid's
25 going to look like in 2045, one fundamental question

1 will be what resources types will be considered as
2 eligible to meet the goals of SB100. So, the focus of
3 this presentation is to provide a starting point for
4 discussions of what resource types we would consider
5 when modeling the electricity grid.

6 So, Christopher, in the next presentation is
7 going to talk a little bit more in depth about what that
8 modeling actually looks like. So, this presentation is
9 just going to focus on kind of the parameters of what
10 resource types we would consider when doing that
11 modeling.

12 All right, is this working or do I have to give
13 you a cue to change slides? All right, perfect. So,
14 you saw a similar slide in Siva's presentation, the
15 language in SB100. We're going to return -- I'm
16 returning to this to emphasize some of the particulars
17 that you see underlined there. In particular, eligible
18 renewable resources and zero-carbon resources. Those
19 underlined sections are what I'm going to talk about in
20 this presentation. Specifically, what's eligible under
21 the Renewables Portfolio Standard now, and what
22 additional resources might be considered as either RPS
23 eligible or zero-carbon under that language you see from
24 SB100.

25 So, first, I want to present some of the

1 questions that CARB, CEC and CPUC staff considered when
2 discussing what resources might qualify as RPS eligible
3 or zero-carbon under SB100. So, first, what counts as
4 eligible renewable energy resources under RPS today and
5 then, what could count as zero-carbon resources under
6 SB100. It's going to have those two parts of it, what's
7 eligible renewable and zero-carbon are both considered
8 under SB100.

9 And then, when we consider RPS eligible and
10 zero-carbon resources together under the same policy
11 framework, like we would have to do for meeting the
12 goals of SB100, do we find any inconsistencies that
13 we're going to have to resolve in kind of combining
14 those two regulatory frameworks.

15 So, today, we're really asking for feedback on
16 two resource scenarios that I'm going to present in the
17 next couple of slides. And your input's going to be
18 really important as we model the future electricity
19 system and the results of that modeling will then inform
20 how SB100 is ultimately implemented. And we encourage
21 you, of course, to submit comments to the docket.

22 So, the first scenario we're teeing up we're
23 just calling, to give a snappy title, RPS Plus. So,
24 this would include all the resources that are currently
25 eligible under the renewables portfolio standard. So,

1 this includes ones that you're familiar with. So, the
2 emissions free resources, like wind, solar, and small
3 hydro. It also includes geothermal resources and
4 electricity generated from biological source fuels and
5 feedstocks, so biomass and exempt biomethane.

6 And then, the plus of RPS Plus is that extra
7 layer of what could be considered or are currently
8 considered to have zero emissions under the state
9 greenhouse gas inventory. So, that includes large
10 hydro. It includes nuclear generation. And it includes
11 nature gas generation where a hundred percent of a power
12 plant's greenhouse gas emissions are captured and
13 geologically sequestered.

14 So, for this option, we wouldn't propose any
15 time restrictions on contracts. So, new large hydro,
16 new nuclear, for instance, could potentially qualify.

17 And for carbon capture and sequestration, CCS,
18 we would propose natural gas is the only fossil fuel
19 option to be paired with CCS. And then, that would
20 really allow natural gas power plants to provide that
21 backup and grid balancing role, while the capture of all
22 the greenhouse gas emissions with geological
23 sequestration ensure that the electricity results in
24 zero carbon emissions to the atmosphere.

25 Important to note on that one, the way we're

1 currently considering this resource scenario is even
2 with CCS we wouldn't propose to allow coal. And that's
3 really because coal plants, you know, for the most part
4 operate as base load generation. They're not good
5 candidates for grid balancing and they don't currently
6 play that role in our electricity system. And also,
7 California, as all of you know, has worked for quite a
8 while to move away from coal as a generation resource
9 and we really don't want to backtrack on that progress
10 under SB100, even with CCS considered.

11 And this scenario, RPS Plus, combining eligible
12 renewable resources, as recognized under RPS, and what's
13 considered zero emission under the state greenhouse gas
14 inventory, that really closely aligns with those two
15 frameworks we have now, RPS and the state GHG inventory.

16 Scenario two, similar to scenario one but it
17 does not allow any resources that combust fuel. And so,
18 this option we include here to really recognize that one
19 of SB100's goals is to reduce air pollution. We know
20 that, you know, in a future where SB100 goals are met,
21 you know, we're going to have far fewer resources that
22 are combusting, combusting fossil fuels, but they're
23 still an impact to communities and to air pollution in
24 general to have those sited somewhere. So, this
25 scenario really wouldn't allow for combustion of

1 biofuels. It wouldn't allow for combustion of natural
2 gas, even combined with CCS.

3 And this, so some important things to keep in
4 mind with this scenario is that it would limit the
5 ability of certain RPS resources, potentially, to use
6 fossil fuels during startup. It also would allow for
7 electricity made from reformation, from biomethane. So,
8 if you made hydrogen from reformation or from natural
9 gas reformation and paired that with CCS that would be
10 allowed because we wouldn't consider that as combustion.
11 But any reformation where combustion was involved, for
12 instance, to produce the steam that was used in steam
13 methane reformation that wouldn't be allowed.

14 So, the previous two slides I discussed what
15 might be considered as eligible renewable or zero-carbon
16 resources under SB100 modeling. On this one we talk
17 about a couple considerations for how that electricity's
18 accounted for. There's going to be a lot of accounting
19 considerations for SB100 going forward. So, these are
20 just a few in terms of how they feed into the modeling
21 of what resources are considered eligible.

22 So, the main accounting methodologies that we
23 think are instructive to SB100 right now are the RPS
24 program and the regulation for the mandatory reporting
25 of greenhouse gas emissions, or MRR. That's the basis

1 for the state's greenhouse gas emissions inventory.

2 So, those two programs are really complementary
3 in their goals, obviously, to reduce greenhouse gas
4 emissions in the state. But their treatment of certain
5 types of electricity is a little bit different. So,
6 including the treatment of Renewable Electricity
7 Certificates, or RECs, is one key difference.

8 So, an example of this difference is for firmed
9 and shaped power. So, under Portfolio Content Category
10 2 of the RPS program, RPS entities can essentially pair
11 a REC with power that's imported to the state, in a kind
12 of firmed and shaped arrangement.

13 Under the MRR, however, that firmed and shaped
14 power is imported to California. It's considered to be
15 from an unspecified source, so it's a source where we
16 don't -- we can't necessarily tie that electricity back
17 to its origin. And so, then it has -- under the MRR, it
18 has the emissions of resources that operate on the
19 margin. So, that incremental megawatt hour, we kind of
20 model where that electricity comes from and give it an
21 emission's profile from that. Right now, it's .428
22 metric tons of CO2E per megawatt hour.

23 And so, that same electricity really would be
24 treated slightly differently under MRR and under RPS
25 Portfolio Content Category 2. So, that's just one

1 example of a potential difference between those.

2 Lastly, we want to flag electricity storage as a
3 potential counting consideration. Storage isn't
4 explicitly considered as a resource under either
5 counting scheme, but it may need to be under SB100. To
6 be compliant with the requirements of SB100, the energy
7 used to create the stored energy would itself need to be
8 either renewable or zero-carbon. And if that energy's
9 ultimately used to produce electricity for the grid,
10 that might turn out to be really straight forward as we
11 get into it. But the more we were thinking about, the
12 more potential kind of arrangements we could see that
13 being confusing where hydrogen's potentially used as a
14 source of electricity, but it could also be used as a
15 transportation fuel source. SB100 regulates electricity
16 to end users. So, those sorts of considerations we
17 would have to deal with as storage becomes a bigger and
18 bigger part of the grid moving forward.

19 So, again, we're asking for your feedback on
20 these two modeling scenarios and, you know, those
21 accounting considerations that I teed up. And again,
22 you can submit your comments to the docket that was
23 listed on Siva's slides earlier. That was 19-SB100.
24 And that's it, thank you.

25 COMMISSIONER MCALLISTER: Can we ask a couple

1 questions here? I just want to butt in.

2 MR. SCHAULAND: Sure.

3 COMMISSIONER MCALLISTER: So, that's for that.

4 Really, really good stuff. And I have two questions,

5 actually. Also, want to give the opportunity for the

6 Chair to say some comments, as well.

7 I guess one has to do -- well, so maybe back up

8 to the previous slide.

9 MR. SCHAULAND: Sure. I think I'll need some
10 help from the -- okay, thanks.

11 COMMISSIONER MCALLISTER: But I guess one
12 question is just how -- you know, I think as the EIM
13 takes on kind of more energy and more -- it's not just
14 sort of like cheap renewables, extra renewables sloshing
15 around. You know, it's actually becoming a market in
16 and of itself and there's going to be a day ahead.

17 MR. SCHAULAND: Sure.

18 COMMISSIONER MCALLISTER: I guess, how much
19 progress are you making sort of unpacking the
20 unspecified issue or energy to actually be able to sort
21 of track back, working with the ISO to kind of track
22 back and try to do that accounting in a more
23 attributable way by resource?

24 MR. SCHAULAND: Yeah, thanks, that's a great
25 question. Because we have -- as you mentioned, EIM

1 keeps expanding to new entities and the conversation now
2 is with the extended day ahead market, so we do expect
3 that playing a bigger role.

4 We have a lot of ongoing conversations with the
5 ISO on how to model that. It is a challenge, especially
6 given both the MRR, the Cap & Trade Program, and SB100's
7 requirement not to incentivize resource shuffling. And,
8 you know, the secondary power generation that
9 essentially fills in the gaps for that electricity that
10 comes into California, making sure that gets accounted
11 for, it's been a challenge, frankly. And I think it's
12 well within the -- I think we'll get there.

13 COMMISSIONER MCALLISTER: Yeah, it seems like
14 that's a solvable question given all the information
15 that the ISO's collecting about those resources when
16 they get bid in. And it will have more so in the day
17 ahead. So, hopefully, that can get worked out. And,
18 obviously, the Energy Commission and the Air Resources
19 Board need to be on the same page about how we do that
20 accounting.

21 MR. SCHAULAND: Yeah, for sure.

22 COMMISSIONER MCALLISTER: So, I know you guys
23 are working on that.

24 And then, the second thing, do you see any --
25 all the accounting issues you talked about, do you see

1 any that are kind of fundamentally challenging, or do
2 you see them just sort of we have to decide on the
3 ground rules and go from there? Do you see any that are
4 really sort of sticky in the way that there's not a
5 clear solution?

6 MR. SCHAULAND: I think the one that I
7 highlighted with regard to PCC-2, how we deal with RECs
8 in the program and how we account for directly delivered
9 power to California that's potentially one because
10 that's a place where, you know, given the mandatory
11 reporting program's framework where we don't attach an
12 emissions value to renewable energy certificates --

13 COMMISSIONER MCALLISTER: Uh-hum.

14 MR. SCHAULAND: -- and there's a lot of good
15 reasons for that, you know, and background, too. You
16 know, how the regulation is put together and that it's a
17 statewide program, and there's, you know, restrictions
18 on how we treat resources inside and outside of the
19 state, and we're trying to be really consistent with how
20 we do that.

21 And so, that's, I think the fundamental one that
22 we've kind of been kicking around. But in conversations
23 we've already had with CEC staff, I think everyone seems
24 eager and willing to bring that to ground.

25 COMMISSIONER MCALLISTER: Yeah, great. Okay,

1 well, thanks for the presentation. And, luckily, we
2 live in a world where we have lots of good options for
3 solving these options. And I think, you know, giving
4 credit where credit is due, we should do all we can to
5 make sure that the right renewables get the right
6 credit. So, I know we're all working hard on that. So,
7 anyway, feedback from stakeholders is really needed to
8 help us with that.

9 MR. SCHAULAND: Okay.

10 COMMISSIONER MCALLISTER: So, we're lucky to be
11 joined by Chair Hochschild. So, you want to make some
12 opening comments of your own. Yeah, put you on the
13 spot.

14 CHAIR HOCHSCHILD: Good morning everyone.
15 Thanks for being here. And just, I'm sure, ditto
16 whatever you said in your welcome remarks.

17 The only thing I'd point out, just the pace of
18 innovation that's happening now in clean energy, and in
19 storage is remarkable. I spent much of last week
20 visiting some energy storage companies, including one
21 here in Richmond that we funded through our CalSEED
22 program. And I just think it's worth remembering that
23 the universe of available technologies to help us reach
24 these goals is expanding in real time, and as the cost
25 is declining. And we all know, you know, lithium ions,

1 you know, a large role in that, and the cost reduction
2 going from \$1,000 a kilowatt in 2019 to \$120 today, and
3 falling. And that is certainly a trend that's to all of
4 our advantage. But there's a lot of other chemistries
5 and a lot of other improvements still to come.

6 But thanks for everyone, and special thanks to
7 staff for all the hard work pulling this together.

8 MS. GUTERREZ: Thank you, Chair.

9 Okay, and we will be hearing about some of those
10 emerging technologies this afternoon.

11 So, next, we will have a presentation from Chris
12 McLean of the California Energy Commission, presenting
13 on some of the analysis we are planning under SB100.

14 MR. MCLEAN: Good morning all. Christopher
15 McLean, California Energy Commission staff. I'm in
16 Siva's division. And as Siva laid out, the SB100 report
17 sets forth certain requirements about the analysis that
18 we intend to do.

19 This morning, I'll briefly cover, at a high
20 level our sort of guiding modeling assumptions and then
21 touch a little bit further in detail on the planned
22 SB100 analysis Siva laid out.

23 We've got a fair bit of work to do in about six
24 months. And in order to incorporate this analysis into
25 the report rightly, I think the bulk of the modeling

1 effort is going to come in the first half of this six-
2 month push. Luckily, we're surrounded with good
3 teammates in the other agencies and we're optimistic
4 about getting that done.

5 All that, to set up an invitation to
6 stakeholders that if there's something you see here
7 missing today, please comment early and often. I think,
8 as I'll discuss a bit later, there are plenty of
9 opportunities to possibly shape the analytical effort
10 that we have before us and I think input from the
11 stakeholder group will be key to doing that.

12 So, Siva had a slide like, similar to this as
13 well. So, ultimately, to get at this SB100 solution,
14 we've got to work hard to identify resource portfolios
15 that meet both our renewable energy and climate targets.

16 The PUC, in their IRP proceeding, is doing some
17 very good work. And the focus in that proceeding has
18 rightly been narrowed to cover PUC jurisdictional and
19 CAISO footprint situated entities. I think it's on --
20 the Energy Commission recognizes that, you know, we need
21 to do the work to extend that analysis and cover the
22 statewide perspective.

23 All of these modeling efforts serve to establish
24 a basis for assessing the costs and benefits, as well as
25 impact. And again, extending this to the statewide

1 effort is going to be a bit of work, but I think we're
2 in good company. So, again, we would appeal to
3 stakeholders to point out places where we can leverage
4 opportunities for a feedback loop. We would very much
5 like the stakeholder community to point out areas where
6 the qualitative analysis may be able to inform our
7 quantitative. And as we go through the modeling efforts
8 and come up with results from these simulations, we
9 would similarly hope that there's a feedback loop from
10 the quantitative side into the qualitative.

11 So, Siva laid out some key considerations. And
12 if you think about each of these as to whether they fall
13 into qualitative versus quantitative bucket, I've
14 highlighted in green the sorts of considerations that
15 can find themselves relatively more readily modeled in
16 our traditional simulation approaches.

17 So, the resource diversity bubble there, and
18 flexibility, those ones tend to be a product of the sort
19 of portfolio selection process. So, to the extent we're
20 able to take hints from the innovation and emerging
21 technologies bubble, and incorporate that into the space
22 that's available for tools like RESOLVE or other
23 capacity expansion models to select and represent these
24 resources as solutions, we very much want to do that.

25 The reliability question, so here we're treating

1 the two components of reliability, adequacy and
2 security. The adequacy pieces, arguably, a little bit
3 easier to land in the sorts of modeling efforts that we
4 have contemplated near term. I think the security and
5 operations questions, I think we look forward to
6 engaging much more deeply with the balancing authority
7 community.

8 With respect to the environmental impacts, I
9 think there's good work being done at the Commission,
10 already. Our colleagues in the siting division, if
11 you've been tracking the IRP proceeding, Scott Flint and
12 a team at the CEC is facilitating the portfolio mapping
13 process by which the outputs of the PUC's IRP reference
14 system plan are mapped and set to a bus bar basis that
15 facilitates modeling in the California ISO's
16 transmission planning process.

17 So, that mapping effort I think is opening up to
18 stakeholders a bit more broadly than it has previously.
19 I think we're finding good engagement from stakeholders
20 on that, with requests for looking at things in
21 different ways, opening up the transparency. And,
22 ultimately, ending with a tool that Scott Flint and his
23 team are working on that will facilitate ready
24 stakeholder engagement with a tool that goes a long way
25 towards, you know, answering and performing these

1 portfolio mapping exercises.

2 So, as we've heard mentioned from the
3 Commissioners, we're at the very early phases of this
4 process and we're looking to stakeholders, again, for
5 any input that you might have to help inform this
6 modeling effort.

7 The key set of assumptions will most likely stem
8 from existing studies. And so, the CEC has -- if you're
9 familiar with the Deep Decarbonization Report, this work
10 was a pathways modeling effort that has yielded three
11 particular scenarios that the CPUC IRP process has
12 picked up and adopted. Those formed the core of the
13 SB100 2045 framing study.

14 We expect that maintaining this consistent set
15 of input data and underlying assumptions wherever
16 possible will result in a more consistent modeling
17 product and allow for comparison of the statewide
18 modeling effort that we undertake with the work that's
19 been done in the PUC IRP proceeding.

20 So, while we may end up with, to the extent
21 possible, similar assumptions and input scenarios, we
22 want to understand differences that may be required when
23 we get to the point of implementing a statewide versus
24 the jurisdictional and CAISO constrained sort of
25 portfolios.

1 Another area that we expect to inform our
2 collection of data inputs and modeling scenarios will be
3 the work that the POU community has done in many of
4 their Integrated Resource Planning reports. Those
5 efforts have been well received at the Energy
6 Commission. And having reviewed or been familiar with
7 the results of those efforts, I think the Energy
8 Commission staff looks highly upon those efforts that
9 were made. It's good quality work and I think we need
10 to take care and capture the value from this POU
11 perspective.

12 There are also other reports, and I think we'll
13 hear more, later today about the LA100 study. So,
14 there's a few of these studies out there that will serve
15 us well and we expect to lean heavily, anywhere we can,
16 on these additional studies and reports.

17 So, given the constraining assumptions of the
18 Deep Decarbonization report and the SB100 2045 Framing
19 Studies, I think I've alluded to it thus far, the
20 ultimate goal is extending to the statewide perspective.
21 And so, the details of how that has to be done are
22 technical to be sure.

23 We're currently in the midst of scoping
24 discussions with our project consultant. And,
25 ultimately, what has to happen to extent this

1 effectively and comport with the 2045 Framing Study is
2 that we've got to expand this RESOLVE model to cover
3 additional balancing authorities. So, we intend to
4 incorporate representation by the LADWP, Banc and TID,
5 as well.

6 So, the place where, again, we'd like to
7 highlight, so the core scenarios of the high
8 electrification, high biofuels, and high hydrogen will
9 definitely be the feature result set.

10 But I think there's a lot to be gained from
11 considering additional sensitivities. And this is
12 where, you know, I think we've heard from Commissioners
13 and policy leaders that entertaining variations and
14 sensitivities on these three scenarios that perhaps look
15 at tradeoffs between, say, something like offshore wind
16 versus out-of-state wind, or looking at a sensitivity
17 whereby we need to come up with a replacement for the
18 natural gas thermal fleet.

19 So, to the extent that others of you, in the
20 stakeholder community, have scenarios that are of
21 particular interest, we're eager to hear about what
22 those are so that we can, early on here, incorporate
23 those into our analyses.

24 So, there are, you know, really two core
25 efforts. First, the extension in the RESOLVE modeling

1 space. And the second is an effort to further align or
2 make an assessment of the alignment between the demand
3 projection that comes out of the PATHWAYS model in the
4 deep decarbonization work, versus the California Energy
5 Commission's Demand Forecast.

6 So, both of these models are of a bottom up
7 nature and so it can be difficult to say sort of which
8 policies are affecting the forecast versus the PATHWAYS
9 projection. And both of the models are quite complex,
10 as well.

11 So, the second objective is to, you know, end up
12 with a pretty comprehensive understanding of how this
13 PATHWAYS projection and the demand forecast coming out
14 of the Energy Commission, how are they alike? What
15 similar things are driving them? And contemplate the
16 implications relative to each of the sort of three
17 scenarios out of the deep D carb work.

18 So, at the outset, you know, I alluded to the
19 timeline. It may be a bit aggressive, but I think with
20 the support from the other agencies and lining out, you
21 know, the scope of the technical agreement with the
22 project consultant we should be in good shape to
23 initiate and complete the planned analysis and the
24 modeling exercise, having obtained RESOLVE outputs at
25 some point near the end of the first quarter of 2020.

1 And then, in the second quarter integrate that
2 all into the report framework and give a chance for all
3 to review the draft effort. So, again, stakeholder
4 input, we definitely want to hear from you. The means
5 to do so, Siva covered that in his slides, but I'll
6 leave it again here. And we look forward to your
7 comments.

8 MS. GUTERREZ: Okay. For this next section,
9 you're going to be hearing about some of the existing
10 directional studies that are providing some guidance as
11 we look towards the SB100 targets.

12 We'll hear from Jason Ortego, first, from the
13 CPUS. And if you can -- if all the speakers for this
14 section could just come to the tables here, and then we
15 will pass it quicker around.

16 So, we've got Jason Ortego from the CPUC, Arne
17 Olsen from E3, James Barner from LADWP, and Erica Bowman
18 from Southern California Edison.

19 MR. ORTEGO: Good morning. I'm Jason Ortego,
20 Advisor in Commissioner Randolph's office, and I'll be
21 presenting the results of the CPUC IRP's SB100 Framing
22 Study Scenarios. This is a study that I worked on with
23 the IRP team and with E3 earlier this year, when I was
24 in the Energy Division.

25 So, I'll start with a brief overview of the IRP

1 at the CPUC. The value proposition of IRP is to reduce
2 the cost of reducing GHG emissions and achieving other
3 policy goals by looking across individual LSE
4 boundaries, and resource types, and finding solutions
5 that might not otherwise be found at the LSE level.

6 The goal of this cycle is to, like the goal of
7 the previous cycle, to ensure that the electric sector
8 is on track to help California achieve its GHG reduction
9 goals. And also, with this study to explore how
10 achieving SB100 could inform IRP planning in the 2030
11 time frame.

12 California today is a complex landscape for
13 resource planning and IRP. We have multiple LSEs,
14 including utilities, ESPs, and a growing number of CCAs,
15 and multiple state agencies are involved in IRP.

16 CEC provides the IEPR Demand Forecast that flows
17 into resource planning at the CPUC. ARB established the
18 GHG planning targets for IRP. And the portfolios that
19 the CPUC IRP team develops end up flowing into CAISO's
20 transmission planning process.

21 So, a 2018 Commission decision established IRP
22 as a two-year planning cycle. Year one is focused on
23 generating and evaluating an optimal portfolio at the
24 CAISO system level, using a capacity expansion model
25 called RESOLVE, and a production cost model called SERVM

1 and Parallel. It's focused on adopting a single
2 portfolio as the reference system portfolio to be used
3 in statewide planning, including the CAISO TPP.

4 The first year it develops filing requirements
5 for LSEs to submit their individual IRPs. And there are
6 actions identified to implement the selected portfolio,
7 the reference system portfolio, such as new procurement
8 authorization.

9 So, you can see the red circle is where we are
10 now. There was a ruling issuing a proposed reference
11 system portfolio a few weeks ago, and we expect a
12 Commission decision on that portfolio early next year.

13 Year two is focused on the LSE development of
14 individual IRPs, expected to be filed May 1, 2020, staff
15 evaluation of those IRPs, both individually and in
16 aggregate, and then the proposed adoption of a preferred
17 system portfolio to be used in statewide planning, as
18 well as actions to implement that portfolio.

19 The purpose of the 2045 Framing Study was
20 broadly to explore how the 2045 goal may affect resource
21 planning in the electric sector in the 2030 time frame,
22 while considering the economy wide picture and
23 interactions between sectors, such as the electric and
24 the transportation sector. And, also, to inform
25 Commission decision making around what should be the

1 appropriate 2030 GHG emissions target and optimal
2 portfolio of resources in IRP to meet that target.

3 And these results were intended to provide
4 directional information to the Commission, to
5 stakeholders regarding the least cost, or least regrets
6 investments needed by 2030.

7 The idea of looking past 2030 is that some near
8 term investment decisions may actually depend on changes
9 that occur post 2030.

10 So, three scenarios were explored to reflect
11 different decarbonization strategies across the state.
12 We have high electrification, high biofuels and high
13 hydrogen. These three scenarios were selected from the
14 2018 CEC Deep Decarbonization Report. And they each
15 satisfy California's economy wide goal of 80 percent
16 below 1990 levels by 2050.

17 The electric sector GHG emissions target and
18 electricity loads vary by each of these scenarios and
19 are a product of complex cross-sectoral interactions
20 within each scenario.

21 Electric sector GHG emissions and electric loads
22 by sector are outputs of E3's PATHWAYS model, which was
23 also used to develop CARB's Scoping Plan update in 2017.

24 This slide shows final energy demand by fuel
25 statement for each of the three scenarios studied. On

1 the left, you can see how energy demand by fuel type
2 changes over time in the high electrification scenario,
3 out to 2045 or 2050. On the right, you can see a side-
4 by-side comparison of the scenarios in 2045.

5 So, note a few key differences are that in the
6 high biofuels scenario, which you can see in the middle,
7 it's more dependent on renewable gasoline, as you would
8 expect. Whereas, the high hydrogen scenario on the
9 right has a bit more hydrogen fuel consumption.

10 But total fuel use, as a measure of final energy
11 demand is actually fairly similar across the three
12 scenarios in 2045. Again, this is energy demand across
13 all economic sectors statewide. What's different,
14 really, is the magnitude of demand per sector.

15 Some of the nuances between the three scenarios
16 start to become more apparent in the GHG emission side
17 of the story, where you can see the effects on emissions
18 in the transportation and electric sector in 2045.

19 So, on the left is the reduction over time in
20 the high electrification scenario of GHG emissions. And
21 on the right is another side-by-side comparison between
22 the three scenarios. The electric sector emissions are
23 lowest in the high electrification scenario at 13
24 million metric tons in 2045, because this represents a
25 future in which other sectors are relying on the grid as

1 a source of low carbon energy.

2 In the high hydrogen scenario on the right, you
3 can see greater reductions in the blue, in the
4 transportation sector due to increased use of hydrogen
5 fuel cells. While the electric sector, in the red, has
6 a little bit more room to emit at 19 million metric
7 tons, as opposed to 13 in the high electrification
8 scenario.

9 This slide shows statewide loads converted to
10 the CAISO level over time, to 2045. Electricity loads
11 vary by scenario and are a product of cross-sectoral
12 interactions within each scenario.

13 As you can see in the first plot, electrifying
14 buildings, transportation and industry, and hydrogen
15 electrolysis are all key drivers of high electric sector
16 loads.

17 And in the second plot, for biofuels, there's
18 effectively zero load apparent for hydrogen production,
19 but is otherwise similar to the first.

20 And then, the third plot, you see a significant
21 wedge of hydrogen -- electric load for hydrogen
22 production as you reach 2045.

23 So, this slide shows the electric load and GHG
24 constraints translated from the PATHWAYS model into
25 RESOLVE. The general process for taking the PATHWAYS

1 outputs and importing in to RESOLVE was to first scale
2 down the electric sector load and GHG emissions budget
3 from the statewide PATHWAYS scenario, to be
4 representative of the CAISO share, only. This is
5 roughly 80 percent. And then, to sync up the PATHWAYS
6 load forecast post 2030, with the IEPR load forecast pre
7 2030.

8 And then, to enter the manual -- enter the
9 annual PATHWAYS load and emissions targets and then run
10 the RESOLVE cases out to 2045, with the SB100 constraint
11 applied in those cases.

12 So, what is the SB100 constraint? This gets to
13 the definitional constraints, definitional questions
14 that Ryan spoke about earlier. SB100 does not define
15 zero-carbon resources. But for modeling purposes, staff
16 had to make some basic assumptions about what counts
17 toward SB100.

18 Renewables, nuclear and hydro are assumed in
19 these scenarios to be eligible resources under SB100,
20 post 2030, which is consistent with the first scenario
21 Ryan described this morning.

22 Specifically, the RPS definition is retained
23 through 2030, after which nuclear and hydro count as
24 eligible.

25 The SB100 constraint is represented as a

1 percentage of renewable and zero-carbon generation over
2 total retail sales. This is similar to how RPS
3 accounting rules work. And as modeled in RESOLVE, this
4 does not necessarily prohibit gas generation. And this
5 is because transmission and distribution losses are not
6 counted as retail sales and they could, in practice, be
7 met with GHG emitting resources. And also, exported
8 renewable and zero-carbon resources or generation leaves
9 room for some internal load to be met with GHG emitting
10 resources.

11 So, as it turns out, all of the 2045 framing
12 studies include some natural gas generation. The model
13 makes economic decisions on how much gas capacity that's
14 existing to remain, but must retain some gas plants in
15 each scenario for local reliability purposes through
16 2045.

17 So, this figure shows RESOLVE results for the
18 high electrification scenario out to 2045. Just a quick
19 refresher on RESOLVE. RESOLVE is a capacity expansion
20 model designed to inform long-term planning questions
21 around renewables integration. It optimizes the
22 selection of additional resources in the CAISO are
23 needed to meet policy goals, including the RPS targets,
24 GHG targets or our planning reserve margin.

25 Additional resources are selected by RESOLVE.

1 They're considered incremental to baseline resources.
2 And baseline resources are those that are included in
3 each model run as an assumption, rather than being
4 selected by the model as part of the optimal solution.

5 So, what you're seeing here is just the
6 incremental resources to the existing or baseline
7 resources assumed in RESOLVE.

8 Some key takeaways are RESOLVE does not retain
9 some thermal resources beginning in 2030. I don't know
10 if you can see it from where you're sitting, but there's
11 a tiny slice of gray bar under the X-axis there,
12 beginning in 2030. That's gas capacity that the model
13 chooses not to retain for economic reasons.

14 Solar and batteries, which are the purple and
15 yellow, they dominate the portfolio mix, especially post
16 2030, where lithium ion batteries are assumed to have
17 six to eight hours of duration.

18 Around 700 megawatts of long duration pump
19 storage is selected in 2026. That might be really hard
20 to see, but it's there.

21 And the maximum resource potential for onshore
22 wind is built. That max is achieved out to 2045.

23 And you can see a small slice of biomass and
24 geothermal in the later years. That's a little bit of
25 red and green at the bottom, near the X-axis, which

1 provides some resource diversity and firm capacity.

2 So, this slide shows key scenario metrics for
3 each of the three scenarios in 2045. There's a lot of
4 information here, so I'll point out just a few
5 highlights. First, check out the fourth row down,
6 that's effective SB100 percentage. This is the
7 generation total as a percentage of retail sales. Or,
8 you can think of it as a measure of whether and by how
9 much the SB100 goal is met.

10 In each scenario, the percentage exceeds 100
11 percent. We have 109, 106 and 104 percent,
12 respectively, for the three scenarios.

13 What this means is that more renewable and zero-
14 carbon generation is procured to meet the GHG reduction
15 targets than is actually required to meet the SB100
16 constraint in these scenarios. The GHG reduction
17 targets being 80 percent below 1990 levels by 2050.

18 So, next, just below that, notice that almost
19 all of the gas capacity is retained after 2030 due to
20 the high peak load that's expected after 2030. The most
21 that we see the model not retain is 4.8 gigawatts in the
22 high hydrogen scenario, which is still less than a
23 quarter of the total gas capacity on the system
24 currently.

25 Finally, note that the levelized total resource

1 costs of the biofuels and hydrogen scenarios is slightly
2 lower relative to the high electrification scenario,
3 which is a result of fewer resources, new resources
4 needed to be built to meet the GHG targets of those
5 other two scenarios.

6 This slide shows how the multiple constraints
7 work in the high electrification scenario, as an
8 example. RESOLVE portfolios, as I mentioned are the
9 least cost solution to many different planning
10 constraints, including the GHG emissions targets, the
11 SB100 constraint, and the planning reserve margin,
12 respectively the first, second and third plot here.

13 In each modeled year, one or several constraints
14 could drive the selection of the optimal portfolio. And
15 the constraint that drives portfolio selection incurs a
16 shadow price to meet that constraint. Accordingly, a
17 shadow price of zero means that the constraint is not
18 impacting the optimal solution.

19 As you can in the bottom figure here, new
20 investment in 2022 and 2026 is driven by a capacity
21 shortfall. So, here, RESOLVE is picking new resources
22 to maintain reliability, whereas policy targets,
23 specifically the GHG target and the top plot drives
24 capacity installation in most subsequent years.

25 Interestingly, the SB100 constraint, or the 100

1 percent retail sales by 2045 constraint, does not impact
2 portfolio selection across the planning horizon.
3 Meaning that reliability needs and the GHG target are
4 the drivers of investment across the planning horizon
5 and, therefore, they are the stricter constraints than
6 SB100.

7 This slide shows results for a couple
8 sensitivities, right on the high electrification base
9 case scenario. So, first, we have the high
10 electrification column, second is out-of-state
11 transmission to new wind turned on as a sensitivity, and
12 the third column is offshore wind available to the
13 model.

14 Again, a lot of information on this slide, so
15 I'll just point out the highlights. The first thing
16 that really jumps out to me is the resource stack
17 difference on the bottom. By allowing the model to pick
18 new transmission to out-of-state resources, as you can
19 see in the middle resource stack, it goes for over 20
20 gigawatts of new, out-of-state wind. And, yet, the
21 total new capacity selected overall is about 40
22 gigawatts less than that of the high electrification
23 base case, when it's not allowed.

24 The effect is similar, but not as dramatic, with
25 the offshore wind sensitivity on the right, where

1 roughly 10 gigawatts of onshore wind -- or, offshore
2 wind is selected.

3 In both sensitivities, the availability of
4 additional wind resources reduces both curtailment and
5 total resource costs, while adding resource diversity,
6 suggesting that these resources may have a place in the
7 state's clean electricity future.

8 And, interestingly, both sensitivities retain a
9 significant amount of gas capacity to maintain
10 reliability relative to the high electrification base
11 case, even with the large build out of new wind
12 resources.

13 This slide addresses one of the main objectives
14 of the study. How do the 2045 goals affect decision
15 making in the 2030 time frame?

16 So, in the first two columns we have -- you can
17 see metrics for two of the 2030 base case scenarios, run
18 in IRP. We have 46 million metric tons by 2030, and 30
19 million metric tons by 2030. The first one is near the
20 high end of CARB's established range for the electric
21 sector, and 30 is at the low end of that range.

22 These scenarios have no visibility beyond 2030,
23 so they solve for constraints only within that time
24 frame.

25 But in the third column, you can see the 2030

1 results for the 2045 high electrification scenario. So,
2 this scenario has that visibility post 2030 that the
3 other two don't have. And so, as a result it makes
4 different portfolio selection decisions.

5 So, as you can see, the new resource built under
6 the 30 million metric ton case is similar to that of the
7 high electrification scenario in 2030, which makes sense
8 because the high electrification case crosses through
9 roughly the same GHG emissions target in 2030.

10 On the other hand, the thermal retention under
11 the 46 million metric ton case is more in line with the
12 high electrification scenario in 2030. This is because
13 in the high electrification scenario the model finds it
14 more economic to keep that gas capacity around for the
15 expected increase in electric loads due to the high
16 electrification that show up not until after 2030.

17 So, now, taking this analysis back to the
18 broader economy wide context, it's important to remember
19 that the PATHWAYS GHG targets for the electric sector,
20 as represented in each of the three scenarios assume
21 maximum level of effort in each of the other economic
22 sectors in California. And, therefore, you could say
23 they assume an unprecedented decarbonization effort
24 compared to the historical trajectory.

25 As you can see on the right, the sales share of

1 electric heat pumps and zero emission vehicles would
2 need to increase from single digits to more than 50
3 percent by 2030. That's in ten years. And for these
4 goals to be realized, this is according to the PATHWAYS
5 analysis for these 80 percent by 2050 goals to be
6 realized.

7 And recent trends suggest that there are
8 challenges in achieving those reductions. For example,
9 the 2017 GHG emissions inventory showed a higher than
10 expected emissions from the transportation sector. And,
11 of course, there remains some uncertainty over the
12 implementation of California's fuel economy standards.

13 This all raises a question I think that the
14 SB100 group will be grappling with in future reports,
15 which is how should the costs and risks of achieving GHG
16 reduction in the electric sector be compared with those
17 in the other economic sectors.

18 And, finally, these are some key takeaways from
19 the study, most of which I've covered already. But to
20 summarize, looking beyond 2030 it's helpful to inform
21 near term thermal retention decisions at minimum.

22 New resource build in 2030, under the 30 million
23 metric ton aggressive core policy case is similar to
24 that of the high electrification case.

25

1 And under thermal retention under the 46 million
2 metric ton case is more in line with the high
3 electrification scenario in 2030.

4 All three framing scenarios rely heavily on
5 solar and batteries to meet the long-term GHG goals and
6 expected load.

7 Availability of out-of-state and offshore wind
8 displaces instate solar and batteries, and lowers costs,
9 and improves resource diversity.

10 And, finally, the PATHWAYS electricity GHG
11 targets assume a maximum level of effort in the other
12 sectors, but it's not certain that those sectors will
13 achieve those expected reductions.

14 Thank you.

15 MS. GUTERREZ: Thank you, Jason.

16 Okay, next we'll hear from Arne Olsen, from E3,
17 on Long-Run Resource Adequacy under Deep Decarbonization
18 Pathways for California.

19 MR. OLSEN: Thank you. Arne Olsen, I'm a Senior
20 Partner with E3. I'm going to talk today about a study
21 that we published in, I think it was about May of this
22 year, that was sponsored by the Calpine Corporation,
23 that takes some of the questions that Jason teed up and
24 examines them in some more detail in areas where the
25 PATHWAYS and RESOLVE modeling hadn't really gone.

1 And that's specifically the question of if you
2 fast forward all the way through to 2050, and you've got
3 a portfolio with lots of solar, and lots of wind, and
4 lots of storage what additional resources might you need
5 to supplement that system to make sure that you can keep
6 the lights on during the times of the year when the sun
7 isn't shining, and the wind isn't blowing, and that
8 might have happened for several days in a row and your
9 lithium ion batteries have been depleted.

10 So, it's really a look at resource adequacy and
11 the need for firm capacity under these systems.

12 Just a disclaimer that this was a study that was
13 funded by Calpine. It wasn't part of the IRP process.
14 It's built on some of the models that the various state
15 agencies have sponsored, but none of the agencies were
16 involved in this particular study, and they don't
17 necessarily endorse the conclusions that come from it.

18 So, the approach is kind of similar to the study
19 that Jason walked through, which really is actually more
20 recent. So, in a way, what Jason presented is more of
21 an updated kind of version of some of this information,
22 but then dialed into more of the CAISO load area.

23 But we started with the statewide PATHWAYS model
24 that was really important in understanding what the need
25 for firm capacity might be for the system in 2050, to

1 make sure that you're meeting long-run, very aggressive
2 decarbonization goals.

3 So, we started off with scenarios that meet
4 statewide, economy wide goals of 80 percent reductions
5 below 1990 levels, and that comes out of our PATHWAYS
6 model. And we also looked at a high electrification and
7 high biofuels sensitivity. They're not exactly the same
8 as the ones that Jason talked about, but they're very
9 similar.

10 So, that information was then passed to RESOLVE,
11 where RESOLVE develops optimal capacity expansion plans,
12 the least cost way to meet the electric load that's both
13 endemic in the system, and the new loads that come out
14 of the PATHWAYS model.

15 And also coming from the PATHWAYS model, which
16 I'll talk about, is a carbon budget that within the
17 PATHWAYS framework has been allocated to the electric
18 sector as part of an economy wide, least cost balancing
19 of ways to meet that 80 percent reduction goal.

20 And then, the last piece of this, which is the
21 one we hadn't really seen anyone do a deep dive on prior
22 to this study, which is, again, what do you need for
23 reliability for resource adequacy throughout the year.
24 And so, some of the scenarios we ran in RESOLVE we then
25 tested in our RECAP model, which is a more robust model

1 that looks at thousands of years of weather conditions,
2 and how the load, and the wind, and the solar all match
3 up, and how we might be able to store energy from one
4 time to meet loads during another time. So, it's just a
5 much more detailed, deep dive on that question.

6 So, just a little bit of background on the
7 PATHWAY study. So, it was built on the Energy
8 Commission's Deep Decarbonization PATHWAYS study that
9 was published about a year earlier. This is the economy
10 wide look, so all of the scenarios meet a 40 percent
11 reduction below 1990 levels by 2030, which is the
12 statutory goal. And then, from there they go on to meet
13 an 80 percent reduction by 2050.

14 So, we then, for our two scenarios derived from
15 that PATHWAYS work, an electric sector carbon budget.
16 So, today, the electric sector in California emits
17 about, let's say, 64 million metric tons. That's, you
18 know, maybe about 15 percent of the total carbon
19 emissions for the state, or the total greenhouse gas
20 emissions for the state.

21 So, by 2050, it doesn't look like it on this
22 chart because of the scales, but the electric sector has
23 to reduce faster than the rest of the economy. So, the
24 rest of the economy reduces from about 420 million
25 metric tons to a little over 90 by 2050, and the

1 electric sector reduces from 64 to between 6 and 10
2 million metric tons. So, now let's say, you know,
3 between about 5 and 9 percent of the total GHG emissions
4 for the state in 2050.

5 So, the two scenarios that we selected were
6 really intended to be bookends on electric loads. So,
7 bookends on this question of what firm capacity might
8 you need to supplement the renewable and energy storage
9 portfolios?

10 So, here we have both the high biogas scenario
11 and a high electrification scenario. And the difference
12 in them, really, as Jason alluded to, is how much
13 electrification there will be of end uses in other
14 sectors that currently use fossil fuels.

15 So, what we're showing here is conventional, so-
16 called conventional electric loads and new electric
17 loads between now and 2050. The gray wedges along the
18 bottom are today's electric loads. And you can see that
19 through very aggressive energy efficiency assumptions,
20 we've just about kept today's electric loads flat for 30
21 years, and that's despite, you know, 30 years of
22 continued economic growth, continued population growth.
23 So, very, very energy efficiency assumptions.

24 And then, the blue wedges on top are the new
25 loads that are coming out of PATHWAYS. So, on the left-

1 hand side, you can see that that darker blue wedge for
2 buildings is much smaller than the one on the right.
3 All right, so if we have a lot of biofuels available in
4 the economy, there are a number of uses for those. One
5 of them would be to gasify those fuels and deliver them
6 through the existing natural gas pipelines as a lower
7 carbon form of methane, and use those in buildings. And
8 that turns out if you have lots of this resource
9 available, and it's reasonably priced, that might be a
10 lower cost way of meeting some of those heating loads in
11 buildings as opposed to electrification. There is still
12 a lot of building electrification, even in that left-
13 hand scenario, the high biofuels scenario, but there's
14 less of it. And so, you can see that building wedge is
15 smaller.

16 On the right-hand side, that scenario really
17 relies very heavily on electrification of just about all
18 of the space heating loads in buildings. Certainly, all
19 of the light-duty vehicles in transportation. Maybe of
20 the medium to heavy duty vehicles, certainly all the
21 ones that are kind of local in scope. It's only the
22 long-haul interstate transport that's not electrified in
23 that high electrification scenario.

24 And just some statistics on the loads that come
25 out of that, on the right-hand side there. But you can

1 see the high electrification scenario has electric loads
2 about 60 percent greater than today by 2050.

3 So, this slide shows you the portfolios that
4 RESOLVE built to meet those electric loads. In the high
5 biogas scenario, it builds about a total of 115
6 gigawatts of solar, about 20 gigawatts of wind, 3 or 4
7 gigawatts of geothermal. So, in effect the model is
8 building, it's maxing out geothermal, biomass and wind,
9 and it's scaling solar and storage to meet the load from
10 there. That's in effect what the model is doing.

11 So, the model would like to have more wind.
12 We've restricted the amount of wind available in the
13 state, just based on what the industry told us is
14 actually available to develop in the state. We've
15 restricted the ability to build out-of-state wind, with
16 new transmission, to 10 gigawatts.

17 We didn't have in this scenario, a year ago,
18 good information on offshore wind. So, offshore wind
19 isn't available in these scenarios. In our more recent
20 work and in the IRP work there is offshore wind. So,
21 that's a big addition and the model does like to pick
22 that in the 2040, 2045 kind of time frames.

23 So, on the right-hand side you can see it builds
24 150 gigawatts of solar total, and between 50 and 75
25 gigawatts of energy storage. That's it builds every one

1 of the pump storage projects that we made -- that we
2 know about and made available to the model. And then,
3 it scales lithium ion from there. And it scales the
4 power capacity and the duration separately, depending on
5 what the system needs with cost functions for power
6 capacity and lithium ion duration.

7 So, very, very large quantities of solar and
8 storage selected. That's the dominant resource that's
9 available and scalable in California and, really,
10 throughout the rest of the Southwest, as well.

11 You can see back there, there is a small wedge
12 of gas on the bottom, and I'm happy to be presenting
13 after Jason because he talked about this already. But
14 in effect, the model retains the natural gas generation
15 to maintain reliability.

16 So, we didn't take the electric sector all the
17 way to zero. We took it down to between 6 and 10
18 million metric tons. The way that the model chooses to
19 use that small amount of natural gas generation is in
20 large quantities, during only very limited times of the
21 year. So, in effect, the model picks the power capacity
22 of the natural gas based on the maximum demand that's
23 placed on that resource.

24 That maximum demand, as I'll show you in a
25 minute, occurs during a wintertime event, multi-day

1 event of low wind and solar, and higher loads that are
2 due to the electrification of lots of the space heating
3 loads in buildings.

4 So, on the left-hand side, the high biogas
5 scenario. That darker wedge on the bottom is gas
6 generation in state. And that top wedge is the assumed
7 amount of imports that might be available to meet our
8 resource adequacy requirements. And there's some
9 uncertainty about what that level might be, especially
10 as other areas in the west decarbonize their own
11 systems, and that's why we've called those out
12 separately.

13 But in effect, on the left-hand side, in the
14 high biogas scenario, it still needs 27 gigawatts of
15 firm capacity, whether from instate gas or whether from
16 imports. And that's down a little bit from today. It
17 was 34 gigawatts total in 2020. So, it does find the
18 ability not to retain all of the firm capacity.

19 On the right-hand side, in the high
20 electrification scenario, because those electric loads
21 grow very rapidly after 2030, especially due to the
22 building electrification which has a wintertime load, it
23 really -- it really can't retire any of the firm
24 capacity.

25 So, it does, just for economic optimization,

1 retire some instate and rely on imports more than it
2 does today. There's a question about whether those
3 imports really will be available or whether that's the
4 right economic choice. I don't think that's really a
5 meaningful distinction. I look at that 35 gigawatt
6 number, which is the amount of firm capacity that the
7 system has to meet.

8 And if I go back here, you know, there really
9 isn't a firm zero-carbon resource available. And I'll
10 talk about that in a minute. You know, we talked
11 through this morning of what some of the definitions
12 might be of more exotic technologies like CCS, of
13 hydrogen, very long duration storage, and in some
14 jurisdictions small modular -- let's say advanced
15 nuclear, small modular nuclear reactors might fall into
16 that category as well.

17 So, I think I mentioned this, but it's
18 interesting to note that in every system that we've
19 studied at these levels of decarbonization, the
20 wintertime becomes the constraining factor. And even in
21 the Southwest, you know, where the wintertime loads
22 aren't nearly what they are in places like the Pacific
23 Northwest, or Minnesota, or New York, or New England,
24 but even here the wintertime becomes the most
25 constraining event. And that's illustrated here on the

1 top two charts. On the left-hand side is the hot summer
2 week. That yellowish wedge is the amount of renewable
3 generation on an hourly basis over several days. And
4 the dark line is the electric load.

5 You can see every, just about every day in the
6 summertime there's a significant amount of surplus
7 generation available during the high solar hours that
8 can be stored and used at night.

9 But even there, there's a little bit of
10 variation. So, that first day on the left tops out at
11 about 150 gigawatts of renewable generation. But the
12 one on the right is down to about 130. So, even in the
13 summertime, because so much of the energy is coming from
14 a weather dependent resource, there are still times when
15 that weather doesn't cooperate. So, on that last day
16 there, there is some gas that's burned at night to keep
17 the lights on. And even during the most abundant time
18 of solar during the year. That could probably just be
19 taken care of, if you really needed to reduce the carbon
20 more, by adding more solar and more batteries.

21 But the one on the right-hand side is much
22 harder to solve. To, this is where you have a multi-day
23 event, where it's cold, you have multiple days in a row
24 where the sun's not shining, and the wind's not
25 blowing, and that's very, very difficult to solve with

1 lithium ion. Kind of diurnal pattern batteries, so you
2 need longer duration batteries. So, we call this firm
3 capacity is what's needed to solve this challenge from
4 capacity. It's just defined as a resource that you can
5 turn on when you need it and it can produce energy over
6 a long duration. And how long? This example is three
7 days. It might need to be four. It might need to be
8 seven.

9 So, we need some firm capacity. So, what
10 happens if you try to start from where the model ended
11 up as the optimal portfolio to meet, let's say, that 10
12 million metric ton target and go from there, and if you
13 don't have a firm zero-carbon resource.

14 This slide's kind of busy, so I'm just going to
15 walk you through it kind of step by step here. But on
16 the left-hand side is the optimal scenario, with 25
17 gigawatts of gas, plus the 10 gigawatts of imports. You
18 can see that's the solar and storage portfolios that
19 were build.

20 If you were to force retire 15 gigawatts of gas,
21 what the model would build to replace that is a little
22 bit more solar, 10 percent more solar, but a whole lot
23 more storage. So, now, it's building 94 gigawatts
24 instead of 74, but it's building 17 hours of duration.
25 Because you say they had that, those multiple-day events

1 where it has to try to -- it has to discharge over a
2 very long period of time. So, it really needs a lot of
3 duration to make up for the fact that you don't have
4 that resource that you can turn on.

5 Then, if you try to take the gas all the way
6 down to zero, in other words try to eliminate carbon
7 from the portfolio, in the absence of a firm zero-carbon
8 resource, and it really only has wind, and solar, and
9 batteries, it has to massively oversize the renewable
10 portfolio by two and a half times. So, it's now,
11 instead of 111 gigawatts of solar, it's building 250
12 gigawatts and it's building 150 gigawatts of 15-hour
13 batteries. That's five times as much storage duration
14 as you had over here in the 25 gigawatts of gas case.

15 So, what is the cost of that? This middle
16 scenario, moving from 25 to 10 gigawatts of gas costs an
17 extra \$28 billion per year relative to the reference
18 case, which starts off at a revenue requirement of about
19 \$109 billion per year. And to go all the way to zero,
20 this now adds \$65 billion per year to the cost of
21 electric service in California. So, very, very costly
22 to reduce those last few million metric tons of
23 emissions in the absence of a zero-carbon firm resource.

24 And just to complete the picture here, the
25 marginal abatement cost is in the order of 6 to 20

1 thousand dollars per ton. So, clearly, there are other
2 things that we can do besides this to reduce carbon
3 emissions more cost effectively in other sectors.

4 So, key findings of the study is a least-cost
5 plan for meeting the economy wide goals reduces electric
6 sector emissions more rapidly, more deeply than the
7 other sectors, down to a range where we got to about 6
8 to 10 million metric tons. So, 90 to 95 percent below
9 1990 levels.

10 So, to get the economy to 80 percent, the
11 electric sector's going to 90 to 95 percent to do that
12 in a least cost fashion. But it doesn't require a
13 complete decarbonization of the electricity supply.

14 And I would argue that if you don't have a firm
15 zero-carbon resource available, it's counterproductive
16 to try to reduce carbon all the way to zero with just
17 the wind, and solar, and batteries. Because of the main
18 plan for decarbonizing buildings and transportation is
19 electrification, then that really needs to be an
20 attractive economic proposition for the consumers that
21 you're asking to adopt electric vehicles and to buy
22 electric heat pumps. So, you really need to be careful
23 about electric rates and making sure those electric
24 rates are reasonable if you're relying on
25 electrification as your main strategy for decarbonizing

1 much of the rest of the economy. So, it's probably
2 counterproductive to go too far in the electric sector.

3 Again, that's in the absence of a firm zero-
4 carbon resource. So, if you have a firm zero-carbon
5 resource, then a lot of things change. The categories,
6 the candidates there are fossil generation with carbon
7 capture and sequestration, advanced nuclear, very long
8 duration energy solar, multiple days, perhaps weeks of
9 energy storage, or some form of zero-carbon gas, whether
10 that's biogas, whether that's hydrogen, or some other
11 form of fuel that you can use perhaps in the existing
12 infrastructure.

13 In the absence of that, the system retains 17 to
14 35 gigawatts of firm capacity. It would be costly and
15 impractical to replace all gas generation with wind,
16 solar and storage. And we've tested this on a number of
17 sensitivities and we've found even at 3 million metric
18 tons in the electric sector, the model still retained 23
19 gigawatts of firm capacity. So, it's a very, very
20 robust to all the various sensitivities that we tested.

21 So, thank you.

22 MS. GUTERREZ: Thank you, Arne.

23 So, now, we will take it down to a regional
24 level and we'll start that off with James Barner from
25 LADWP, presenting on LA100.

1 MR. BARNER: All right, thank you. So, back in
2 -- let me forward a few. There we go.

3 All right, back in 2016, the LA City Council
4 directed the LADWP to partner with DOE's Renewable Lab
5 to conduct a 100 percent renewable study. The motion
6 also requested LADWP to establish a stakeholder process.

7 The main goal of the motion was to determine
8 what investments should be made to achieve a 100 percent
9 renewable energy portfolio for LADWP. And the original
10 motion was amended to add an assessment of jobs and
11 economic development, incorporate the CalEnviroScreen,
12 and prioritize environmental justice neighborhoods as
13 the immediate beneficiaries of localized air quality
14 improvement and GHG reduction.

15 And there was a requirement to perform an
16 analysis by the ratepayer advocate on how the 100
17 percent renewable scenarios fit within the current rate
18 structure.

19 So, per the City Council motion, LADWP retained
20 the National Renewable Energy Laboratory, also known as
21 NREL, to conduct the study. The study is the largest
22 renewable energy study that NREL has ever performed.
23 Some of the models within LA100 require higher
24 performance computing. Some of the analysis would take
25 20 years to run on a laptop, just to give you the sense

1 of the amount of data we're dealing with.

2 Another instruction from the City Council motion
3 was to create a stakeholder process for the study. For
4 this, we've assembled a group of stakeholders, whom we
5 refer to as the Advisory Group, or AG. The Advisory
6 Group meets quarterly to provide input and guidance to
7 steer the study in the right direction.

8 This diagram summarizes the scenarios that NREL
9 is considering for LA100. There are essentially four
10 main scenarios that are each considered under moderate
11 and low electrification scenarios. The left-hand being
12 the blue, is the moderate. And the right, the green is
13 the high load electrification scenarios.

14 The ninth scenario considers a high load stress
15 version of SB100, which is on the far right, in orange.

16 All of these scenarios reach 100 percent
17 renewable energy by 2045, except for the scenario known
18 as LA Leads, which examines accelerated timelines of
19 2035 and 2040.

20 The study also includes a reference case that
21 uses LADWP's 2017 IRP, which was the approved plan for
22 LADWP before the enactment of SB100.

23 Only SB100 and high load stress cases allow use
24 of existing natural gas and RECs in the final year of
25 2045. No new natural gas is allowed in any of the

1 scenarios considered.

2 The Transmission Renaissance scenario allows for
3 new transmission corridors. While others, like SB100
4 and LA Leads and Emissions Free, only allow upgraded or
5 new built transmission along existing corridors.

6 The High Distributed Energy Future scenario
7 doesn't allow for new transmission to be built.
8 Instead, the focus is on distributed energy resources.

9 Climate change and associated temperature
10 increases are being incorporated into the load forecast
11 used in these modeling.

12 This is a block diagram of the models that
13 comprise the LA100 study. Each block represents a model
14 or set of models and each line between the blocks
15 represents either data or knowledge handoffs between the
16 models. So, you can see that the modeling in the study
17 is extraordinarily complex. It's easier to digest this
18 overall model in pieces, so I'm going to step through
19 seven components of the model and describe what each
20 achieves in isolation.

21 So, this is the demand side grid, DS grid model.
22 It uses a bottom up approach to drive hourly electricity
23 consumption profiles. NREL is developing a city scale
24 version of their US wide model that is specific to Los
25 Angeles. This involves millions of simulations that

1 require high performance computing.

2 The DS grid model comprises multiple input
3 component models that model loads stemming from the
4 commercial and residential building stock, the
5 industrial sector, the transportation sectors.
6 Specifically, the adoption of plug-in electric vehicles
7 and their charging profiles. And other electricity use
8 that is not covered by the above models, is modeled
9 within the GAP model.

10 Next is the distribution generation market
11 demand. This is called DGEN model. It's a type of
12 capacity expansion model that simulates how residential,
13 commercial and industrial customers will adopt
14 distributed energy resources through 2050. The DGEN
15 model uses a bottom up approach and dates a number of
16 assumptions, including those related to future
17 electricity cost, technology cost, technology
18 performance, policies, regulations, and customer
19 behavior.

20 Distribution analysis is performed using the
21 open DSS module and it has the following features,
22 including estimating the hosting capacity of individual
23 feeders to determine the amount of demand growth and
24 distributed generation that can be accommodated. The
25 module also performs power flow analyses to identify

1 feeders subject to voltage and thermal violations, and
2 estimates the cost of required upgrades to feeders.

3 The core of the LA100 modeling is the capacity
4 expansion model, known as Resource Planning Model, or
5 RPM. RPM estimates how the capacity of the grid can be
6 expanded as LADWP integrates renewable resources. In
7 short, the model identifies what to build, where to
8 build it and when.

9 Inputs to the model include projects of load,
10 fuel prices, policy changes, technology costs, and
11 technology performance.

12 Outputs of the model include simulations on how
13 regional generation and transmission systems will
14 operate and expand. In RPM it seeks to minimize the
15 overall cost of the system.

16 After RMP output is a plan for expanding LADWP's
17 resources, multiple models are used to validate the
18 output. The Integrated Grid Modeling System, IGMS, is a
19 new type of analysis that studies reactive power flows
20 between the transmission and the distribution system in
21 the presence of high DER deployment.

22 The Probabilistic Resource Adequacy Suite, PRAS,
23 is a model used to better understand the adequacy of
24 each investment pathway. NREL is performing production
25 cost modeling using PLEXOS, for up to five-minute

1 dispatch.

2 And lastly, for power flow and dynamics analysis
3 they're using PSOF, which evaluates power system
4 voltages and phase angles, as well as real and reactive
5 power that is flowing through the system.

6 NREL is working with USC, one of the AG members,
7 to model the impacts of renewable energy on air quality,
8 with consideration given to environmental justice
9 communities. NREL is using its capacity expansion
10 model, RPM, to estimate the GHG reductions that will
11 occur in response to the use of 100 percent renewable
12 energy.

13 The models will simulate changes in the
14 following sources of pollution. The power sector, with
15 a focus on LADWP's assets, light-duty vehicles,
16 residential and commercial buildings, and the industrial
17 loads of LAX and the Port of Los Angeles. USC is using
18 a three-dimensional, gridded, photochemical air quality
19 model.

20 And for economic impact and jobs analysis, NREL
21 has subcontracted to a subcontractor who's developed a
22 model to estimate the economic impact of converting to
23 100 percent renewables. And the key outputs of this
24 model are estimates for employment, and impacts on
25 household income and GDP.

1 So, here are some of the fundamental challenges
2 being considered in the study. We don't have a lot of
3 results at this point. But there are fundamental
4 economic and technical challenges to achieving a 100
5 percent renewable energy power system. One of the most
6 critical is the mismatch of variable renewable energy
7 supply and electricity demand. This mismatch has both a
8 daily diurnal and seasonal component, and this leads to
9 an increasingly unusable amount of energy as we increase
10 the contribution of renewable energy.

11 This particular illustration highlights the
12 seasonal mismatch in timing between renewable energy
13 supply and demand to meet 100 percent of annual demand
14 for LADWP. And each dot on this represents one day of
15 the year. And you can see curtailed energy on the left-
16 hand side. And on the right-hand side, for energy
17 deficiency, the net load megawatt hours.

18 So, here, you can see that simply adding more
19 variable generation provides diminishing economic
20 benefits. At about 95 percent renewable energy, we've
21 heard additional energy is simply not needed on most
22 days of the year and adding more solar or wind will
23 provide no benefit on those days.

24 In this example, only about a third of the
25 output of a PV system will actually be useful by LADWP's

1 customers, without additional mechanisms to better align
2 seasonal supply and demand. And this example is without
3 a lot of long-term storage.

4 To meet load, this scenario shows -- shown,
5 requires an abundance of renewable and seasonal storage.
6 This example week, in December 2045, shows that with
7 high variable renewable resources and without using
8 natural gas generation, there's occasionally not enough
9 energy or power to serve customers, as shown on the
10 chart as unserved energy.

11 You can see that on all, except the first day,
12 there is no curtailed energy. Meaning that there's no
13 additional excess daily energy available to charge
14 storage resources.

15 This is an example of the build out using the
16 capacity expansion model RPM. Please note that this is
17 very preliminary results and it doesn't consider high
18 loads.

19 This part shows how the technology or capacity
20 mix changes through time for any given scenario. In
21 these examples, the resources required under these
22 scenarios require an expansion of replacement resources
23 of between 155 to 164 percent by 2045.

24 Between 2025 and 2045, more solar, and storage,
25 and wind is built. And long-duration storage, assumed

1 to be hydrogen fuel cells, is built in one of the
2 scenarios to manage the mismatch of energy from spring
3 to summer.

4 Combined cycle, and combustion turbine, and
5 peaking units are eliminated in most of the scenarios in
6 2045.

7 Reaching 100 percent RPS requires a heavy
8 reliance on out-of-basin generation and transmission
9 lines. Concerns regarding grid resiliency are being
10 considered in this study. In light of recent fires
11 which significantly reduced LA's import capacity, back
12 in October, there was some concern for having such a
13 heavy reliance on a few external transmission corridors
14 to import energy without sufficient local, dispatchable
15 generation for emergency backup.

16 Limitations to available transmission import
17 capability is a concern and sequencing and duration of
18 transmission outages for scheduled maintenance becomes
19 critical to charging battery storage in the LA Basin,
20 especially while having to also serve existing load.

21 And we have to be cognizant that if LADWP's
22 transitions to 100 percent renewable energy is too
23 expensive, the higher electricity cost could discourage
24 building electrification and EV adoption, which are two
25 crucial strategies for reducing significant, citywide

1 GHG emissions.

2 So, here are very preliminary results. What
3 we've learned so far, as mentioned before, our
4 preliminary findings are showing a large amount of
5 solar, battery storage, and wind is crucial. Storage is
6 used to shift energy mainly from solar, from daytime to
7 evening hours. And when thermal generating assets are
8 not available, long-term storage must be used to shift
9 energy from spring to summer.

10 In scenarios which allow renewable energy
11 credits generating assets, which are not eligible for
12 renewables certification, can be used when the power
13 system is stressed. And when a large amount of
14 renewable energy resources are online, the model will
15 often decide it is more economical to curtail renewable
16 energy than build out more storage.

17 And this is the LA100 study timeline. As you
18 can see, our initial modeling results are coming out in
19 December of this year. The results will be updated to
20 consider the impact of no OTC repowering in March 2020,
21 so those gas units won't be included in those results.

22 In September 2020 we'll get the final modeling
23 results and the final report in March 2021.

24 And if you'd like to find out more regarding the
25 LA100 study, shown there is the link. Thank you.

1 MS. GUTERREZ: Great. Thank you, James.

2 And, finally, we have Erica Bowman from Southern
3 California Edison, presenting Pathway 2045 Report. And
4 I'd like to invite you guys to stick around in case we
5 have any questions or comments from the dais after.
6 Thank you.

7 MS. BOWMAN: So, thank you. I am Erica Bowman.
8 I'm the Director of our Resource Planning and
9 Environmental Strategy groups at Southern California
10 Edison.

11 I'm just going to get right into it. It's very
12 similar to what -- our results are very similar to what
13 you've heard across the panel. But just to give you a
14 little bit of context of what SCE did, back in 2017 we
15 released our Clean Power and Electrification Pathway
16 Report, where we really focused on 2030 and how we
17 thought it was the most cost-effective and feasible way
18 to hit our 2030 decarbonization goals from a statewide
19 perspective.

20 And as you can see there, it was decarbonizing
21 the electric sector to 80 percent, and then electrifying
22 7 million light-duty vehicles, as well as electrifying
23 almost a third of our space and water heating in
24 buildings.

25 So, in 2018, Governor Brown issued his executive

1 order for both carbon neutrality, and then also signed
2 the bill for SB100, which we really thought moves the
3 ball forward in how we need to think about the long-term
4 implications of decarbonization, especially given that
5 in this context it would certainly be that the electric
6 sector would need to lead in terms of decarbonizing even
7 further and faster, as noted earlier.

8 So, in our recently released white paper,
9 Pathway 2045, we did the same type of economy wide
10 modeling, using the E3 PATHWAYS model initially, and
11 then we did similar processes as these other folks have
12 done on the panel, where we're looking at our resource
13 portfolio build out using a capacity expansion model.
14 We don't use RESOLVE. We actually use an ABB capacity
15 expansion model, so you see a little bit of different
16 results there. And then, we also put this into a
17 production cost simulation model to look at some of the
18 reliability issues, and we use PLEXOS for that.

19 In addition to doing kind of the resource
20 adequacy, as well as the cost production modeling on the
21 resource side, we also then gave our results over to our
22 transmission and distribution folks, and they did their
23 detailed analysis to look at, okay, if these are the
24 resource scenarios that we need to plan to, what do we
25 need to do on the transmission, on the distribution side

1 of things in order to make certain that we're able to
2 deliver this resource to the customers.

3 So, this really just kind of highlights the main
4 factors, or the main carbon abatement mechanisms that
5 are being used to achieve the economy wide
6 decarbonization goals. So, by 2030 we're saying we need
7 about, again, 80 percent of our electric grid should be
8 decarbonized. And that would be used, then, to support
9 over, around 7 and a half million light-duty vehicles.

10 And then, similar to our 2017 study, we are
11 anticipating that we need to electrify around a third of
12 our building space and water heating.

13 Additional to that, we see a reduction in
14 pipeline, in natural gas pipeline consumption. That
15 really is coming because you're electrifying your
16 buildings, and so you're reducing your natural gas. And
17 then, you have a biomethane component of that remaining
18 gas.

19 So, by 2045 you're seeing a significant amount
20 of light-duty vehicles needing to be electrified to 26
21 million. That's really around 75 percent of all
22 vehicles. Then, you have building electrification
23 around 70 percent. And then, we you have pipeline gas
24 reducing to almost half of today's levels. And 40
25 percent of that is biomethane.

1 So, some implications from this intense
2 electrification out in 2045 is that you do see load
3 growth. It's something that we haven't really seen,
4 again as mentioned previously. It's something that I
5 think is one of the key components of when we think
6 about SB100 and complying with SB100. This is really an
7 important piece.

8 And I think as we think about decarbonization
9 and being successful in that, in the State of
10 California, one of the issues is what are we doing to
11 make certain that both the transportation
12 electrification is happening at the pace that is needed?
13 What are the incentives, especially in the early term
14 through 2030 to get there? As well as what are we doing
15 on the building electrification side?

16 Because across all of these studies, including
17 in the scenarios where it's hydrogen and biogas, you're
18 still needing a lot of electrification to get there.
19 And so, I think there's some real key questions that
20 will be driving kind of what we see on the electric
21 side, but it does really -- it is embedded in this load
22 picture.

23 Additionally, we did have a lot of capacity on
24 the distributed energy side, so we had about 30
25 gigawatts of solar capacity being built, which is

1 roughly about 50 percent of households, of single-family
2 homes having solar deployed in 2045. Additionally, we
3 had about 10 gigawatts of behind-the-meter storage that
4 we were seeing as we build out our scenario.

5 So, we ran two resource capacity expansion
6 scenarios after we look at kind of the high
7 electrification case. One is looking at what we called
8 the balance scenario, where you're seeing more balance
9 between solar and wind development. A lot of that wind
10 is coming from out of state.

11 And then, we also have the solar heavy scenario,
12 where you're looking at more solar resources being
13 deployed in lieu of out-of-state wind. And in the solar
14 heavy scenario we said we wouldn't be -- we wouldn't be
15 allowing for any more imports into the State of
16 California. And it's really the CAISO footprint, I
17 should clarify. And so, that really restricted the
18 amount of out-of-state wind that you could bring into
19 California, itself.

20 What was interesting, when we went through this
21 exercise, we handed off these two scenarios to our
22 transmission and distribution planners, and when you lay
23 on top this is not looking at it from a capacity stand
24 point, but more it's a total direct cost in billions,
25 you see that on the solar heavy scenario you have a lot

1 less transmission and distribution costs. And, really,
2 it's the transmission that's the big driver driving
3 difference.

4 On the out-of-state wind scenario, or the
5 balance scenario, you're seeing a lot more transmission
6 needing to be developed not in California in order to
7 bring those megawatts to the border, so that California
8 can use them.

9 I think, really, this is a starting point for a
10 conversation. There's a lot of things that we can talk
11 about. What resources will be available, could be
12 available, at what cost?

13 We did model offshore wind as a technology that
14 could be used. Our model did not select that. We may
15 have had different assumptions around that compared to
16 other models that did see some offshore wind development
17 happen. We also modeled some advanced geothermal, et
18 cetera.

19 But this is an important piece and I think we
20 need to think through some of these things because there
21 are real tradeoffs. On the whole, they're pretty much
22 similar in terms of costs. I don't think, really, one
23 is better than the other, especially given the
24 underlying uncertainties and all the assumptions we're
25 currently making for 2045. But it's something that I

1 think, as we think through what could be the real
2 limitations in this type of development going forward is
3 really where we need to spend our time.

4 And then, one other piece, just kind of to
5 highlight here, is talking about the load shape itself.
6 So, depending on how peaky your load is and what kind of
7 ramp you're showing, it can really drive cost savings on
8 a day-to-day basis.

9 So, in this graph we're showing -- the blue line
10 is what we used in our modeling, in our cases, but we
11 did a sensitivity saying, okay, what happens -- because
12 we did embed a lot of flexibility. So, there was
13 flexibility in our building loads, as well as
14 flexibility in our transportation electrification loads.

15 So, this is really looking at what if our load
16 was less flexible? What if it's not being managed as
17 well as it could be or should be, what happens?

18 And you can see that you end up spending about
19 one, to two, to three billion dollars more each year
20 because you're not managing that load. Obviously, if
21 you're able to even further minimize the ramping between
22 -- in that original load shape, you'd see additional
23 savings.

24 And then, I think I haven't seen a lot of
25 studies trying to come at it from an affordability

1 perspective for a customer. So, what we tried to do was
2 take all of the investments that we were seeing that
3 needed to happen on the energy side of things, and not
4 look at just from an electric rate perspective, but put
5 it in the context of a household energy expenditure
6 perspective.

7 So, how much are customers spending today and
8 how much do we expect them to spend in the future on
9 different equipment in their homes, and for their cars,
10 et cetera, in order basically to either live their lives
11 in a modern way, or to -- obviously, for their
12 transportation.

13 So, this is looking at SCE territory only. And
14 you look at what the non-adopter looks like versus what
15 an adopter looks like. So, even today, if you have
16 folks that are adopting electric vehicles and also
17 adopting home solar systems, they are saving. And that
18 in today's numbers we are assuming certain benefits,
19 such as a NIM tariff, et cetera, on the solar side.
20 This does exclude the capital cost of investment, so
21 we're not -- so, if you go out and buy a car and the
22 amount of money differential between a new electric
23 vehicle versus an internal combustion engine vehicle,
24 that's not being captured in this analysis.

25 However, the investment for the capital

1 expenditures in the electric sector, itself, is being
2 captured because we did a rate analysis to look at that.

3 But it is showing that in 2045 we are spending
4 less relative to today, because you're basically taking
5 out gasoline and natural gas costs.

6 The other piece I do want to highlight here is
7 that the natural gas costs, shown in this affordability
8 graph, assumes that the same amount of revenue
9 requirement is needed on the natural gas sector, and the
10 customers are reducing. And so, you're having a much
11 bigger burden being put on those remaining customers.
12 Basically, the ones who haven't adopted electric
13 technologies.

14 So, that's also a point of something that needs
15 to be resolved as we move forward into the energy
16 transition in terms of, you know, how do we want to
17 transition appropriately and equitably so that those
18 folks who may not be able to adopt new technologies are
19 also not paying double for the lack of being able to do
20 so.

21 And that's all I have. Thank you.

22 MS. GUTERREZ: Thank you, Erica.

23 At this time, we will invite our Chair
24 Hochschild and Commissioner McAllister to make any
25 comments or ask any questions of the presenters.

1 COMMISSIONER MCALLISTER: So, that's great.
2 Thanks, all of you for presentations. And it's actually
3 notable, I think, how much concordance there is across
4 their message here. So, it's nice to see this kind of
5 not quite consensus, but it's nice to see kind of
6 similar things coming forth. And I think that will be
7 really helpful to organize the conversation going
8 forward.

9 I guess, I really appreciated Edison's slide 6.
10 Erica, maybe we could pull it up just real quick. And I
11 guess definitely I appreciate your sort of highlighting
12 the fact that the TND investment varies by scenario.
13 That makes sense, right. But, you know, I think a lot
14 of people that are not in utilities don't have a lot of
15 visibility into what is driving those investments. You
16 know, the distribution system, like what kind of
17 enhancements are needed depending on how demand evolves.
18 And then, whatever happens or doesn't happen on the
19 distribution on the distributed level has implications
20 for what has to happen west wide and with transmission.

21 I guess, I want to ask about assessment tools,
22 and I guess this is for everybody, really. In terms of
23 how we assess reliability under these different
24 scenarios, do we have the tools we need to go relatively
25 granular? Like understand the equity implications, for

1 example, the locational implications on reliability of
2 these different scenarios?

3 MS. BOWMAN: So, I would say the question is how
4 many scenarios do you want to look at? And, sure, we do
5 have tools that can assess that at a granular level.
6 But the time it takes right now to do that assessment,
7 at that granular level, is very high. And even for us,
8 I mean we, in our planning cycles like it just becomes
9 very difficult to do multiple scenarios and feel like
10 we're really confident. And especially, as it relates
11 to cost, to be able to just get through the work.
12 Because the more granular we go, it becomes harder and
13 harder as you build on more scenarios.

14 So, I guess maybe the question is do we have the
15 right tools to do a lot of scenarios in a timely
16 fashion? Probably, that needs to be developed. But,
17 yes, can we do it through brute force analysis, yes, we
18 can look at that.

19 COMMISSIONER MCALLISTER: I see. So, maybe a
20 slightly different question would just be how different
21 are the scenarios -- how different are the outcomes of
22 those analyses depending on our assumptions for how
23 successful we are on electrification, say, at the local
24 level. And maybe that's really the question I wanted to
25 ask.

1 MS. BOWMAN: I think, certainly, it's really
2 dependent on how successful we are. Because under --
3 really, the driving costs for the scenarios that we
4 modeled was the underlying load picture. And that
5 underlying load picture was assuming that we hit a very
6 high number, three-quarters at least in 2045, of
7 electric vehicles being electrified. Or, sorry, of
8 vehicles being electrified.

9 So, given that, like that is a huge number. And
10 if you look -- I don't know what slide number it is, but
11 if you go -- oh, I can control it, I'm sorry. If you
12 look here, in the red that is your transportation
13 electrification load. So, even if you have that, that's
14 going to have a significant impact on what your resource
15 build out will need to be, because you're just not going
16 to have to serve as much load as you would have.

17 Now, will you actually meet your decarbonization
18 goals? I don't know, it would be very difficult. You,
19 obviously, either need hydrogen which would then
20 increase your electric load because you're using
21 electricity to create that green hydrogen, or you have
22 biogas which, again, I think it's a question, I think
23 you're seeing electric vehicles still winning out in
24 terms of on the light-duty level that they need to be
25 electrified to hit those decarbonization targets.

1 COMMISSIONER MCALLISTER: Yeah. Why don't we
2 give others a chance to, yeah, add onto that.

3 MR. OLSEN: If I might, I think we understand
4 the reliability challenges at the system level fairly
5 well.

6 COMMISSIONER MCALLISTER: Yeah.

7 MR. OLSEN: You know, I don't think -- I think
8 there's a lot of uncertainty about how flexible we can
9 make a lot of the loads, especially the transportation
10 load. That's potentially a big load that you could
11 think about being flexible, but the transportation needs
12 are also very important to individual people. So, you
13 know, there are some limitations there.

14 But I think your question about the impact of
15 the electrification load at the distribution level is
16 really, really important. When we do studies of higher
17 electrification, what we typically find is there's some
18 head room on the existing system. So, typically, we
19 find that it actually reduces rates to put a certain
20 number of electric vehicles on the system. And a
21 certain number of heat pumps, again depending on the
22 shape of the electric load and whether that's a winter
23 peaking or summer peaking distribution system. But it
24 can reduce rates to add some heat pumps.

25 But at a certain point that curve starts to tilt

1 the other direction just because you're now having to
2 upgrade the distribution systems from the home all the
3 way up through the substation, to the subtransmission
4 level. So, I think there's a lot of investments. I
5 don't think we fully understand how large that number is
6 going to be. But that's going to be really, really
7 important to do everything we can to minimize the level
8 of distribution investments and make the loads as
9 flexible as we can so that we can save on those costs.

10 COMMISSIONER MCALLISTER: Totally, totally
11 agree. And I guess, you know, maybe it's not
12 necessarily like if we -- maybe we build it and they
13 don't come. I mean, I think those things are
14 codependent, and then your planners can manage that as
15 it comes about. But if we're aiming at this long term,
16 we need to make sure we're planning for the load that's
17 actually going to show up, and then encouraging that
18 load to actually show up and that flexibility to show up
19 at the same time. Otherwise, we're kind of not going to
20 get there.

21 MS. BOWMAN: And I would also add on just one
22 other point on at least the distribution level as it
23 relates to transportation electrification. Also, the
24 rate at which you want to fill your cars or, you know,
25 charge your batteries, that has a big implication for

1 what kind of upgrades you're going to need at the
2 distribution level.

3 COMMISSIONER MCALLISTER: Do LADWP or PUC want
4 to chime in on this at all? No. Yeah, go ahead.

5 CHAIR HOCHSCHILD: Yeah, I just -- first of all,
6 to your last point I think it is the case that as the
7 range of electric vehicles increases, and that's
8 happening across the board now, we have a little over 45
9 models on the road today. We'll have 140 in the next
10 two years. And vehicles like the Ford F-150 are coming.

11 As the range increases, actually, your range
12 anxiety goes down. I got the Chevy Volt, which the *Wall*
13 *Street Journal* called the -- what's the word, what's the
14 drug for anxiety, Xanax or whatever it is. That would
15 have been for range anxiety, right.

16 And so, actually, you can use level 1 charging,
17 which is a lot less costly.

18 But let me, this is more of an observation than
19 a question which is, you know, as we're sitting here
20 meeting this morning, about 30 minutes ago, PG&E
21 announced they're going to cut off power to another
22 three-quarters of a million people this week. So, this
23 is the world we're in, right.

24 And, you know, this is a larger problem than
25 just for our goals here. This is affecting the whole

1 state and our economy and, you know, many levels. And
2 it affects also the gas system. In the past, they've
3 actually cut off some of the gas system as well.

4 I want to say my belief is that this is a
5 solvable problem. Okay. We had the symposium with
6 Germany last week, which the Energy Commission hosts
7 once a year. So, Germany's divesting from all of their
8 nuclear and all of their coal. Their average downtime
9 for the electric grid in Germany is 12 minutes a year.
10 Okay. And I think that's where we need to drive to.

11 It is, you know, not a silver bullet solution.
12 It's silver buckshot. There's many different things to
13 control demand, and including microgrids. You know, we
14 funded microgrids on, you know, 38 different sites, \$85
15 million. You know, it was many, many different
16 dimensions to this. But, I mean, the importance of grid
17 reliability has, you know, elevated significantly. And
18 I think that's on everybody's minds as we go forward.
19 Asking the question how can these things best support?
20 How can everything we add, from electric vehicles to
21 electric heat pump water heaters be good citizens of the
22 good.

23 And I think if we do that right it is solvable.
24 I do believe that. But it's very clear to me the
25 electric grid has to be the green backbone of our

1 climate strategy and so, the reliability, which has
2 always been important, but especially so now.

3 I just want to thank all the panelists. Really
4 terrific contributions, thank you all.

5 MS. GUTERREZ: Okay. At this time we will just
6 have you stay put and we will start with public comment.
7 If you can, please fill out a blue card and give it to
8 the Public Adviser.

9 We will start with Eddie Ahn, from Brightline.
10 You may need to turn that mic on.

11 MR. AHN: Hello. Oh, great. Good morning,
12 Commissioners, Eddie Ahn with Brightline Defense, and
13 environmental justice organization that originally
14 supported SB100 and we're excited to see this process
15 well underway through the workshops.

16 Just two brief comments, the first of which is
17 just want to make sure that in addition to considering
18 the impacts in energy equity around barriers, and
19 impacts to communities that we care about, low-income
20 communities, environmental justice communities, that
21 we're also making sure that we mention jobs, and also
22 economic benefits to our communities as well.

23 So, I was particularly excited to see in the
24 LADWP presentation mention of an economic analysis
25 that's been done around their planning process, and

1 making sure that's incorporated as part of SB100's
2 technical workshop will also be important.

3 Also, appreciate the environmental justice focus
4 as well in the LADWP presentation. And as well as
5 highlighting certain portions. Light-duty vehicles, for
6 instance, is mentioned repeatedly. But how can we make
7 that beneficial to communities, again, that we should be
8 caring about in the State of California.

9 The second point to segue into is just
10 reliability in the grid and just making sure that's
11 emphasized again and again. Commissioner Hochschild has
12 made very good comments about how we need to ensure
13 reliability in the grid through things like microgrids.
14 But also want to make sure that we're ensuring the
15 diversity in our energy mix, as well.

16 And one of the things that we'll continue
17 following at Brightline is, for instance, the
18 possibility, the potential of offshore wind. Making
19 sure that that can also add on to things that we have
20 advocated for in the past, such as rooftop solar.

21 Thank you.

22 MS. GUTERREZ: Thank you, Eddie.

23 Next, we have Maya Batres from the Nature
24 Conservancy.

25 MS. BATRES: Hi, thank you. And thank you for

1 the opportunity to provide comments today. My name's
2 Maya Batres, on behalf of the Nature Conservancy.

3 First of all, we're encouraged to hear that the
4 agencies are thinking about how to include environmental
5 impacts as part of the quantitative analysis for the
6 SB100 report. And we want to express our support for
7 this effort.

8 TNT believes that incorporating land use
9 considerations early on into energy planning is a key
10 step to achieving SB100 goals and that a robust
11 environmental dataset should be considered as part of
12 this analysis.

13 Our recent report, which we conducted with E3,
14 the Power of Place, we submitted as part of our formal
15 comments through the scoping workshop, shows that
16 incorporating land use data and energy models can
17 improve planning forecasts, limit future development
18 conflicts, and avoid the loss of habitat and ecosystem
19 services.

20 Furthermore, the inclusion of land use data
21 significantly influences the types and quantities of
22 resources selected, the amount of land needed, and the
23 optimal location for build out, as well as the costs for
24 the scenarios.

25 Understanding these variables can help inform

1 policy decisions that can lead to environmental
2 benefits, cost savings, and predictability for
3 stakeholders.

4 So, I just want to highlight a couple key
5 outcomes from our study that speak to why this is so
6 important. First of all, the amount of land needed to
7 meet SB100 goals is significant and varies depending on
8 the level of environmental protection.

9 From our report, out of 61 scenarios, we find
10 that anywhere from 1.6 to 3.1 million acres are going to
11 be needed to achieve SB100 goals.

12 Second of all, without a plan to limit impacts
13 to natural and working lands, the impact to agricultural
14 land is high. Anywhere from one-third to one-half of
15 development will occur on agricultural lands without a
16 proactive plan.

17 Third of all, our scenarios show that achieving
18 the best land outcomes at the lowest costs happens when
19 resources are shared across the west. This is something
20 that the agencies should be considering throughout this
21 process.

22 Through the innovated resource plan process, the
23 CPUC, the CEC and the CAISO have developed a process for
24 incorporating land use data into energy modeling, and we
25 encourage the same to be done throughout the report.

1 Finally, we believe that incorporating land use
2 data in the SB100 process is consistent with the state's
3 policy to protect and manage for natural and working
4 lands when it considers new policies and complements
5 other efforts that the state is undertaking to identify
6 low impact locations for clean energy.

7 We look forward to the opportunity to work with
8 the agencies and other stakeholders as it relates to the
9 recommendations today. Thank you very much.

10 MS. GUTERREZ: Thank you, Maya.

11 Next, we have George Peridas from Lawrence
12 Livermore National Laboratory.

13 MR. PERIDAS: Chair Hochschild, Commissioner
14 McAllister, thank you for the opportunity to testify
15 today. Panelists and staff, thank you for your
16 excellent presentations.

17 I think the magnitude of the task is becoming
18 very clear and it would be misguided and even hubristic
19 to assume that we can linearly chart a course and then
20 stick to it. I think we're going to need as many dogs
21 as possible in this fight. And there are many
22 dimensions, including cost and reliability that factor
23 into this task that we have ahead of us. And we need to
24 make sure that we diversify our approach to the extent
25 possible.

1 I've had the pleasure over the last three years
2 to convene a group, a very diverse group of labor
3 unions, NGOs, industry participants, researchers,
4 specifically on the topic of carbon capture and storage.
5 And we've come together with the common objective to see
6 this feature in California's energy mix and to provide
7 useful solutions and useful services.

8 So, I was particularly happy to see this
9 morning, in the staff presentation, that a broader view
10 is envisioned at this point by the agencies on what may
11 constitute a zero-carbon resource. And we believe that
12 carbon capture and storage may also have a role to play
13 and it should be allowed to do so.

14 I would encourage you to think more broadly. I
15 think limiting it to natural gas fuel only may be too
16 narrow. We're currently in the process of finalizing a
17 report on how, we being the lab, how California can
18 achieve upwards of 100 million tons a year of negative
19 emissions to aid with its goal of becoming carbon
20 neutral, economy wide, by 2045. And there are many
21 pathways in which you can achieve that. And using
22 waste, biomass, among other things is one of the ways
23 that can yield you very large amounts of negative
24 emissions.

25 So, in considering the goals of SB100 here and

1 implementation, I would urge you to go beyond just the
2 use of natural gas. I mean, using biogas from various
3 feedstocks may also be very much in play and useful.

4 So, we look forward to continuing the
5 conversation. And may I also add that Chevy Volt has
6 other uses. During the latest PSPS outage, I was
7 actually able to reverse the flow of currents and
8 instead of charging the car, I was able to run the
9 fridge and the lights at home using the car's battery.
10 So, other synergies here that we look forward to. Thank
11 you very much.

12 MS. GUTERREZ: Thank you, George.

13 Next we have Ryan McCarthy from the California
14 Hydrogen Business Council, followed by Ed Smeloff from
15 Vote Solar.

16 MR. MCCARTHY: Hi, Ryan McCarthy here on behalf
17 of the California Hydrogen Business Council. First of
18 all, I want to say thank you for all the workshops you
19 have done and for today's in particular. This is an
20 impressive body of work that the state has put together
21 as it considers its path forward.

22 One question I have is how, and this obviously
23 doesn't need to be addressed now, but how over the
24 course of the next three or four months the state is
25 going to pull this all together and resolve, you know,

1 the definitional scenarios we heard today, where any
2 natural gas, for example, has to have carbon capture.
3 With all the studies here, many of which include a lot
4 of natural gas in its current form as well.

5 But one observation on the technical analyses
6 here, I think the fact that -- well, first, I would
7 agree with the last statement that we should keep our
8 options open and avoid locking in, and making decisions
9 now based on these analyses, which are very uncertain
10 given everything that's uncertain currently about the
11 electricity system. But also, the differences in costs
12 reflected in the different scenarios I imagine are
13 dwarfed, you know, by the uncertainty and the
14 assumptions. So, I think we should just keep that in
15 mind.

16 I think the assumptions that go into some of the
17 modeling in the IRP, if I'm not mistaken, I think some
18 of the renewables costs in 2050, for example, are higher
19 than the costs we're seeing today. I think, certainly,
20 lithium ion battery costs are higher than the costs we
21 heard quoted from the Chair this morning. So, just, you
22 know, keep in mind, you know, we need to understand what
23 innovation will do.

24 And I think the fact that, you know, we heard
25 that SB100 goals are not the constraint, that

1 reliability is the constraint, it seems like something's
2 still missing in these scenarios. I imagine that could
3 be hydrogen and other long-duration energy storage
4 technologies. How you bridge that reliability gap and I
5 think understanding these uncertainties, variabilities
6 and tradeoffs in terms of costs and what that might mean
7 for, you know, hydrogen or long-duration storage. I
8 understand we can't perfectly model innovation,
9 including for technologies that might not quite be
10 commercial, yet, but it seems like that's the missing
11 piece here.

12 So, to the extent you can really dig in a little
13 bit further on the long duration side, I think
14 hydrogen's probably one of the easier ones to model at
15 this point, especially if you can explore the difference
16 in cost assumptions on the energy side, as well as the
17 technology side, I think that will really help to inform
18 this last gap in the scenario. Thank you.

19 MS. GUTERREZ: Ed Smeloff from Vote Solar.

20 MR. SMELOFF: Good morning Commissioners. And I
21 want to thank you very much for organizing this
22 workshop. It has been extraordinarily informative and I
23 really appreciate the presentations that each of the
24 panelists here made.

25 I have sort of two observations I'd like to

1 make. The first is to the extent that we are going to
2 have to retain combustion technologies to be available
3 during those limited events in the winter, the dark
4 doldrums events, we need to think carefully about how
5 that interacts with the natural gas delivery system
6 here, in California.

7 SB100 actually does call out specifically that
8 the SB100 report does need to address both the impacts
9 on the gas system and the water system. So, it is
10 important that that be in the report.

11 So, as we think about having, you know, assets
12 that are used, these reserve contingencies that may be
13 used only 10 percent of the time, you also have to think
14 you have this elaborate infrastructure of compressor
15 stations, gas pipelines, gas treatment that will need to
16 serve those power plants for a very short interval of
17 time. So, we need to think of alternative ways, if
18 you're going to rely on those, such as liquid storage at
19 the sites of the plants.

20 And also, thinking about how this fits in with
21 the issue of resiliency and microgrids, and how we're
22 going to ensure for, you know, adequate reserves even
23 within the microgrids.

24 The second point I wanted to make was, and I was
25 very impressed with Southern California Edison's

1 presentation about the reduction in energy costs on the
2 average for all consumers as a result of electrification
3 of transportation and buildings. It's a very optimistic
4 scenario.

5 But if you looked at that carefully, you saw
6 that there was a big distinction between the adopters
7 and the non-adopters, so we do need to pay attention to
8 equity and make sure that there are mechanisms available
9 for those non-adopters so that they are able to
10 participate in the benefits as we move forward on this
11 electrification.

12 So, again, I want to thank the Commission and
13 the Commissioners for this. And, you know, we're on the
14 right track, but we really need to pay attention to the
15 impacts, both in terms of equity and on other systems.
16 Thank you.

17 MS. GUTERREZ: And Janice Lin, from CESA. And
18 if there are any other folks in the room that want to
19 make public comments, you can just line up behind one of
20 the mics closest to you, and just introduce yourself at
21 the mic. Thank you.

22 MS. LIN: Thank you very much for your
23 presentations this morning. My name's Janice Lin. I'm
24 representing the California Energy Storage Alliance.

25 I have three points I wanted to make. One is

1 just in the spirit of some of the other comments that
2 were made is to make sure that we all maintain an open
3 mind, particularly around energy storage. Energy
4 storage is not just batteries, it's a very diverse asset
5 class with many subtypes, mechanical, chemical, thermal,
6 just to name -- gravitational. Spanning from very
7 large, pumped hydro resources that can be built here in
8 California to behind-the-meter, load-modifying resources
9 such as thermal storage, or chemical storage. And there
10 is so much innovation happening today. So, especially
11 innovation on the long duration thresholds of all of
12 those types, including thermal in front of the meter,
13 electricity in, electricity out.

14 My second point is that CESA also advocates for
15 hydrogen storage as a means for addressing the multi-day
16 and seasonal needs that have been very accurately
17 identified by some of the speakers here today. And
18 what's neat about hydrogen storage, as it was pointed
19 out, it could be made many different ways, from
20 electrolysis using wind and solar, and also from other
21 resources, other renewable resources such as
22 gasification of biomass. And it can be stored in salt
23 caverns, in modular tubes, and also in the gas pipeline
24 itself.

25 So, my third point is that one of the ways that

1 we can keep this transition affordable and doable is by
2 finding ways to repurpose existing assets, whether
3 that's repurposing our existing gas pipeline and
4 blending in hydrogen and biogas, as well as repurposing
5 all of those existing thermal generation assets, which
6 can also be run on a blend of biogas, natural gas and
7 hydrogen.

8 And then, finally, I just want to say that there
9 are opportunities to think about doing this when we
10 think across sectors, but I'll talk about that later
11 this afternoon. Thank you.

12 MS. GUTERREZ: Thank you, Janice.

13 Are there any other comments in the room? Okay,
14 seeing none, do we have any on WebEx?

15 Okay, go ahead, Le-Quyen.

16 MS. NGUYEN: Yeah, Brian Tarroja, you are now
17 unmuted.

18 MR. TARROJA: Okay, hello. Can everyone hear me
19 well?

20 Hi, my name is Brian Tarroja. I'm from the
21 University of California at Irvine, in the Advanced
22 Power Energy Program.

23 And I wanted to make a couple of comments
24 regarding the modeling and scope to make sure that the
25 modeling framework for SB100 is robust.

1 The first comment I wanted to make is that the
2 outputs of capacity expansion models are highly
3 sensitive to assumptions embedded in the input data, not
4 only for costs and cost projections, but also in the
5 characteristics and capabilities of the technologies
6 that are included.

7 So, in the spirit of other comments, we
8 understand that from a technology stand point many of
9 these technologies are evolving to be capable of
10 providing a wider suite of services alongside new and
11 emerging technologies that can address system needs in
12 meeting SB100.

13 Now, some of these may be difficult to capture
14 with high certainty early on, but it's very important
15 that the modeling framework for SB100 be flexible enough
16 and be capable of being updated to account for the
17 discovery of these characteristics or the inclusion of
18 these emerging technologies as the modeling and scoping
19 evolves.

20 And kind of to go off of that, the large amount
21 of moving parts in these types of modeling efforts
22 introduces a lot of uncertainty. So, I really want to
23 highlight the importance of sensitivity analyses, not
24 just for input data, but also for characteristics, and
25 also for constraints that are associated with the tools

1 used in this effort.

2 And another comment that I wanted to make is
3 that I also think it's very important for the scoping of
4 these scenarios to assess, at least on a basic level,
5 the non-greenhouse gas emissions effects of the
6 technologies and mix of technologies that are included
7 in SB100 planning.

8 So, these are things like land use, water use,
9 criteria pollutant emissions, and things that happen in
10 state, but this also should encompass things that happen
11 outside of state, say lifecycle greenhouse gas
12 emissions, material usage, and so on. At least to
13 provide an additional set of metrics that we can use to
14 compare the different scenarios that are coming out of
15 SB100 modeling efforts. Thank you.

16 MS. NGUYEN: Thank you, Brian.

17 And that's it on WebEx.

18 MS. GUTERREZ: Okay, we are amazingly right on
19 time. So, we will reconvene here at 1:00 p.m. and hear
20 about some of the existing and emerging technologies
21 that will make up the portfolio of the future. Thank
22 you.

23 (Off the record at 12:01 p.m.)

24 (On the record at 1:08 p.m.)

25 MS. GUTERREZ: Okay, if everyone can just have a

1 seat, we will get started with our afternoon portion of
2 the workshop for SB100.

3 I will introduce Jonah Steinbuck from the
4 California Energy Commission. He is the Manager of the
5 Energy Generation Research Office. And he will be
6 introducing the next panel.

7 MR. STEINBUCK: Thank you, Aleecia, and good
8 afternoon to everybody. As Aleecia mentioned, I'm Jonah
9 Steinbuck, Manager for the Energy Generation Research
10 Office and very glad to be able to engage in this SB100
11 conversation with all of you. And I joined the Energy
12 Commission just a few months ago and look forward to
13 working with you towards this clean energy future.

14 So, we've got two great panels this afternoon.
15 The first one is going to be focused on continued
16 innovations and some technologies associated with our
17 major renewable resources.

18 And then, the second one will be more on
19 emerging technologies that will also be, you know,
20 contributing to and enabling our clean energy future.

21 And what we're hoping to do today is really just
22 draw on expertise across a broad range of technology
23 areas, have that inform some of our thinking around
24 SB100 modeling. And then, ultimately, inform our
25 thinking and approaches to implementation more broadly.

1 So, before getting too deep into the panel, I
2 want to just take a couple minutes to share how the
3 Energy Commission is supporting technology innovation,
4 specifically through the Electric Program Investment
5 Charge, the EPIC program. Many of you are probably
6 familiar with it, but some may not be.

7 And we are really seeking to catalyze innovation
8 and accelerate achievement of our clean energy goals
9 through EPIC. We award \$133 million a year in a broad
10 range of areas, renewable generation, storage,
11 microgrids, electrification, demand flexibility, among
12 others. And it's all oriented towards decarbonization,
13 resiliency, affordability and equity.

14 We're seeing some great impacts from EPIC. As
15 one example, we've been supporting solar PV tracking.
16 So, Leila Madrone from Sunfolding is here. They're one
17 of our partners. We've been supporting their efforts to
18 improve PV tracking technology, reduce the number of
19 components and cut down some of the costs of
20 installation.

21 Nevados Engineering is another example that
22 we've been supporting their work on PV trackers on
23 uneven ground, which eliminates the need for land
24 grading and opens up more sites for installation.

25 Another example from EPIC is the CalSEED

1 program. This supports early stage California clean
2 energy startups and helps bring their concepts and their
3 prototypes to market. And it's one of the easier ways
4 to get involved in the EPIC program. It's got a simple
5 application process and there's smaller, kind of smaller
6 awards that range up to \$150,000. And then, if
7 successful, there's an opportunity to apply for follow
8 on funding up to \$450,000.

9 We've invested \$8.3 million so far through
10 CalSEED, over the past three years, and that's resulted
11 in \$32 million of follow on funding, both public and
12 private. It's also generated 32 patents and 37
13 different pilot projects.

14 Another example from the EPIC program is the
15 four innovation clusters that we support across
16 California. The local example is Cyclotron Road, and
17 Tim Latimer from Fervo Energy is a current Fellow there.
18 So, we're providing business support for entrepreneurs,
19 access to labs, investor connections, coaching, et
20 cetera.

21 And through those clusters we've invested -- I
22 should say, our investments in those clusters have
23 generated a threefold increase in follow on public and
24 private investment and we expect that to only grow.

25 And then, looking more broadly at EPIC, we've

1 also been kind of analyzing the impact of our funds as
2 like a catalyst for broader public and private
3 investment. And based on 29 startup firms, where we
4 have good, strong data, we've seen a doubling in the
5 amount of investment, public and private, after an EPIC
6 award relative to before, and reaching levels of \$1.1
7 billion collectively in investment with some of these
8 companies.

9 So, we run a public, transparent process and
10 have a preference for funds spent in California. So,
11 most of our partners are California based. And a very
12 strong emphasis on low income and disadvantaged
13 communities. Thirty-two percent of our demonstration
14 sites are in low income communities and 34 percent are
15 in disadvantaged communities.

16 And then, I wanted to highlight this new site
17 that we just recently launched. It's called Empower
18 Innovation. And the idea here is to connect and support
19 innovators working to build a hundred percent clean
20 energy future. So, entrepreneurs, funding providers,
21 researchers, businesses and local governments that are
22 looking to deploy new technologies. And it provides
23 access to funding opportunities, resources and upcoming
24 events.

25 And you can see different -- it's got a broad

1 range of funding opportunities. Bu9t for the CEC ones,
2 you can indicate your interest in it and see who else
3 has indicated an interest, and message with them and
4 explore potential partnerships with others that may be
5 interested in a similar topic. Maybe a demonstration
6 site host or a technology vendor, et cetera.

7 So, the website is empowerinnovation.net, and
8 encourage you to take a look when you get a chance.

9 So, with that, I'll turn it over to our panel.
10 Again, this first one is focused on continued innovation
11 and some of our key existing renewable resource areas.
12 So, we'll be discussing some of the state of the market,
13 some of the technology trends, and cost trends and
14 innovations occurring all with the aim of informing this
15 SB100 discussion.

16 So, our first panelist is Leila Madrone. She's
17 going to be speaking on solar PV. And she's the CEO and
18 co-founder of Sunfolding.

19 MS. MADRONE: Now can you hear me? Great.

20 So, I'm going to talk to you about what the next
21 generation of solar infrastructure could look like. But
22 let's first look at what's been happening in the past.
23 I think this is probably a familiar image to most of
24 you. Solar has come down by 300 times over the last 40
25 years.

1 But what's really interesting has really been
2 this kind of -- and as it's been coming down, as you'd
3 expect, as you start to get a good return on investment,
4 you start to see installations on the rise.

5 But it's really these last ten years that have
6 really put us at this new kind of inflexion point for
7 solar. We've actually brought the price down of solar
8 an additional 10X. Those are really hard won, mostly on
9 getting the components at much, much lower cost,
10 especially the solar modules and inverters.

11 And what that brings us to in terms of inflexion
12 point is a point where in particular cases solar and
13 wind are cheaper than coal. And at the low end, they're
14 sometimes half the price of coal.

15 And if you look at the power generation mix, as
16 seen for the world -- I didn't have access to those
17 great modeling slides we saw this morning that were just
18 for California. But as expected to see for the world,
19 we're looking at seeing something like 48 percent of the
20 world's resources by 2050 be solar and wind combined.

21 And as you probably well know, California ranks
22 first. California has 25,000 megawatts installed. The
23 next state has only about a little over 5,000 megawatts
24 installed.

25 And some nice, kind of California facts here.

1 First in the U.S., and probably going to be first for
2 quite a while, that's enough solar to power 6.7 million
3 homes. And actually, about 18.7 percent of the state's
4 electricity comes from solar, now, which is really quite
5 spectacular given where it's come over the last ten
6 years.

7 There's a lot of jobs and businesses that have
8 been generated via solar. And right now, the growth
9 projections are about another additional 15,000
10 megawatts over the next five years. But as we saw this
11 morning, to meet SB100 that could actually look like
12 another 100,000 megawatts or more by 2045.

13 So, one of the reasons I think probably the
14 models show that the future mix looks like mostly solar
15 is that we're at a point where solar is cheaper in coal.
16 Well, this is only sometimes true. And it's complicated
17 and it's getting more complicated, especially in
18 California.

19 And so, if we break it up and see here's one
20 part of where the complications are. All the way on the
21 left here we have the breakdown for residential solar.
22 All on the right, we have utility scale. Those are the
23 really large projects. And the bottom couple bars have
24 to do with those direct components that we've been
25 working on reducing the price of for the last 40 years.

1 And those top bars represent kind of the rest of the
2 system. The installation, the permitting, the dealing
3 with the land, the civil works, all that's required to
4 actually put a system in place.

5 And the problem we're seeing now is that with
6 all of this kind of deployment we want to see with
7 solar, we want to make sure that that future return on
8 investment is at least as much as the current or
9 predicted return on investment.

10 And why this is actually a problem we should be
11 looking at is that project space and the conditions in
12 building solar in California, even with incentives, once
13 you're at 18 percent penetration it's becoming more
14 challenging. The pricing is going down and the sites
15 and the actual projects are getting harder to do.

16 So, all these new factors in solar, they keep
17 contributing to drive up the fully installed cost, while
18 the prices keep going down, which makes for a worse
19 return on investment, of course.

20 And so, solar continues to be a viable solution
21 only if innovation continues to drive costs and expand
22 the boundaries of where solar can go. And the reason I
23 say this, is that if we remember from this cost curve,
24 we put a lot of work into getting the component costs
25 down. And those kind of top bars, which are kind of the

1 soft costs, and the land, and the way it gets installed,
2 this is a place where we now have to pay attention
3 because this is the place where things are going to get
4 complicated.

5 So, I'm now going to talk a little bit about
6 Sunfolding. This is a Sunfolding plant. We are a solar
7 tracker company and, hopefully, this video works. So,
8 solar trackers, if you don't know, they're the machines
9 that move the panels to follow the sun to make the most
10 energy possible.

11 We are building a new kind of solar tracker.
12 And the way it works is, as you change the air pressure
13 on either side, you change the position. And what's so
14 interesting about doing it this way is that we actually
15 replace dozens of components that are currently in a
16 utility scale power plant with a single part. And we
17 create a solar plant that's much, much simpler and is
18 much more modular and adaptable to different types of
19 land.

20 And, so, the path of solar in California and
21 other places, the place you had to develop looks like
22 this. They were flat, you could build beautiful,
23 north/south facing rectangles. It was really easy to
24 get your installation to be very optimized.

25 And this is probably what the future of solar

1 looks like. And I would say that's even what the
2 present of solar looks like, given what we're seeing in
3 the market.

4 And so, what was really interesting to me from
5 Sunfolding is we've been doing this for almost ten
6 years, and we originally were creating this new kind of
7 pneumatic tracker system to lower the price of the
8 component.

9 But what we've found once we've got into market,
10 we've now deployed over 100 megawatts, is that the
11 reason that customers want to use us the most is because
12 they can now utilize land better. So, by having a
13 really modular system you can fill in all the nooks and
14 crannies of the land.

15 And another place that was alluded to before is
16 when you have undulating terrain. Even if you have some
17 land -- so, usually, what you do when you're building a
18 bit solar site is you basically just level the land. If
19 there's any kind of undulations, you just grade the
20 whole thing, you get rid of the whole thing and you make
21 this nice flat piece of land.

22 We're finding that it is a lot more cost
23 effective and a lot more environmentally advantageous to
24 instead have plants that follow the land. So, instead
25 of creating -- making the land so that it fits into the

1 shape of the plant you want to build, you have the plant
2 follow the land.

3 And so, I would say that was really just
4 touching on one piece of it that we've seen from
5 deploying Sunfolding. But we've seen that really the
6 places that we're starting to see the struggling points
7 and the complications are really around these three kind
8 of topics.

9 So, first is land usage. We want to get more
10 capacity and higher efficiency, and we want to expand
11 the boundaries of solar. So, you want to be able to
12 develop every single site with limited extra cost and
13 limited kind of environmental upset.

14 On the construction side, I don't really have
15 time to talk too much about this, but because we've been
16 able to replace dozens of components with a single part,
17 just by changing the underlying machine we actually can
18 install a solar plant two to three times faster. And
19 that's important both from a cost perspective, as well
20 as wanting to deploy a lot more solar, a lot faster.

21 And then, on the last piece, solar is actually
22 really new to the grid. I don't think anyone knows how
23 much it's going to cost to maintain it, yet. And so, a
24 lot of that needs to be put into both putting in
25 technology that has reduced long-term operating cost,

1 and thinking about how we're going to deal with these
2 kind of long-term, sustaining O&M challenges that we
3 haven't even really started looking at, yet.

4 That's all I have for now, thank you.

5 (Applause)

6 MR. STEINBUCK: Thanks, Leila. That was very
7 efficient, too, so we're in good shape time wise.

8 The next speaker is Johnny Casana. He's the
9 Senior Manager for U.S. Political and Regulatory Affairs
10 at Pattern Energy Group.

11 So, over to you, Johnny.

12 MR. CASANA: Thank you. And I apologize, I
13 don't have any videos in mine. That was so cool.
14 You'll just have to take me as I come.

15 Yeah, we're Pattern Energy. We're a San
16 Francisco based wind, solar, storage, and transmission
17 developer. An American company. We're one of the
18 largest suppliers of clean power to the State of
19 California. We have a global footprint. But wind is
20 what we really have done a lot of, mostly, so they asked
21 me to talk about wind.

22 I put this slide up as a sort of looking at the
23 sort of long-term national perspectives. She had, that
24 was great, the Bloomberg and the IA slide. I loved that
25 one.

1 This takes some of that same research and pins
2 it against an NREL projection of what the U.S. probably
3 needs in terms of wind and solar deployment to get to
4 Paris targets.

5 And so, this orange bucket, it looks mustard
6 yellow here. On my slide it was orange, so sorry about
7 that.

8 So, this is the projection from Bloomberg with
9 current policies and economics for utility scale solar.
10 It goes up pretty steadily over the next couple of
11 decades, which is great.

12 This yellow one up here is rooftop or
13 distributed installations. It also increased pretty
14 good, which is great.

15 This gray line in there, that's offshore wind
16 which, you know, more of than we had before, and Adam's
17 going to talk about that.

18 This blue line here is national existing
19 policies for land based wind, which is pretty flat in
20 aggregate. And that includes a lot of retirements and
21 replacements over time, but it's pretty flat.

22 And then, these dots up here are what NREL
23 predicts for those four segments we'll need to achieve
24 climate targets as a country.

25 And utility scale solar is pretty much on track.

1 There's a gap. Rooftop solar is a little over-
2 subscribed. We need some on offshore. But the big gap
3 for the U.S., in terms of, you know, with existing and
4 projected technologies how are we going to get to our
5 climate targets, assuming we stay in the Paris Accord.
6 We'll see. A big gap for land based wind, 375
7 gigawatts, you know.

8 So, this is sort of like a starting point of
9 thinking what does the future look like for these two
10 great technologies that have come down so much in cost
11 and have really entered the mainstream, but our existing
12 policies are only really working for one of them.

13 So, what does that mean for us, as a country? I
14 also, sometimes put up -- this is a slide that Brattle
15 did a couple years ago. You know, when we talk about
16 utility scale grids across the country and across the
17 world, we often get questions about do we even need
18 wires and utility scale anything at all.

19 And this is a Brattle study that looks at --
20 they're essentially making the case, which has been made
21 lots of other places, that to deal with climate with the
22 tools that we have, and the timeline that we need to do
23 it, it's a kind of two-step path where you clean the
24 grid and you electrify everything. So, decarbonize
25 electricity, then make buildings and transportation as

1 much as you can electrified for the end use powers. And
2 I think that shows up in the PATHWAY study. That shows
3 up in a lot of the work that California is doing.

4 But I thought this was -- this is an
5 interesting, sort of like not many people have done
6 this, but they put the -- they modeled distributed solar
7 on half of the houses in America and it got 2 percent of
8 the way to climate goals. And then, the modeled rooftop
9 solar on 100 percent of houses in America, or roofs in
10 America, and they got 9 percent of the way to climate
11 goals.

12 So, it's like it's a very important -- we often
13 think of it as a very important part of the puzzle, but
14 by no means anywhere close to solving the challenges
15 that we have ahead of us in the next few decades.

16 Decarbonize the electric sector. And this is
17 only one study. It's not gospel, but directionally I
18 think it's interesting.

19 Thirty-six percent of the way to that, you know,
20 carbon goal by 2050. And then, if you electrify
21 buildings and transportation you get a lot closer,
22 within striking distance if maybe we, I don't know, eat
23 one less hamburger a week, or something. I don't know.

24 But this speaks to the need to deal with that
25 big gap in the wind side in terms of what the next

1 couple of decades look like in policy.

2 Why are we doing so great, you know, the Lazard
3 I think does a great, and this is where these numbers
4 come from talking about the levelized cost of energy for
5 wind and solar has come down dramatically. Leila put up
6 some great slides from Lazard. This is the wind
7 comparison to it.

8 They just came up with, and these are
9 unsubsidized, so these are sort of calculated U.S. costs
10 without the PTC or the ITC. They just last, a couple of
11 weeks ago, put out their new numbers. And the PTC wind
12 was down to \$11 a megawatt hour, which is just like
13 shocking and stunning, and these are super high
14 capacity. Factoring in, you know, 50, 60 percent NCF.
15 Down to -- you know, when you're talking about one cent
16 power, a lot of things that didn't used to seem
17 physical, or practical, or politically viable start to
18 make a lot of sense.

19 And they are both now cheaper than the levelized
20 cost of new gas and new coal projections from a number
21 of different groups, including Bloomberg put about 10
22 years out, maybe early 2030s it starts to be cheaper to
23 build new wind and solar at the utility scale than to
24 even continue to operate existing gas, let alone coal.

25 And so, then, that brings into a lot of question

1 about what is the investment prospect for a 40 or a 50
2 year gas plant at this point, if 10 or 15 years out it's
3 not going to be economic to run? And that's a real
4 challenge. And that's something that, you know, we'll
5 have to all sort of look at. But declining cost of wind
6 and solar are important.

7 I put DG solar up there. It's, you know, again,
8 a very important part of the solution, but quite
9 expensive compared to the utility scale parts of the
10 team.

11 And then, this is another study that came out of
12 Austin last year, which is the places in the country
13 where wind is the cheapest, where solar is the cheapest,
14 and where gas is the cheapest. And practically nowhere
15 is anything else cheaper.

16 So, these are just -- these are some of the
17 things that are driving the economics on the wind side.
18 These are those turbines you see out in the Tehachapi
19 pass. And then, if you drive up to Las Vegas you'll see
20 along the road. These are what they'll look like. You
21 know, they're much bigger. As with refrigerators, and
22 cell phones, and VCRs and personal laptops, the more we
23 build something as a society, the better we get. This
24 is a real tech sector revolution. You know, the
25 technology running the turbines, the gears themselves,

1 the size of the blades, and the ability to build them
2 with a deep and vast human resource, you know, pool all
3 over the world has really driven the cost down.

4 And there's this cycle, there's this, you know,
5 virtuous cycle of cost reductions drive to more
6 installations, which makes policy support much easier,
7 which helps drive down the cost through technology
8 innovation, which perpetuates that cycle. And we've
9 seen a lot of that. California was really at the
10 forefront of that.

11 But unlike on the solar side, when you talk
12 about 25 gigawatts leading the world, ten years ago
13 California was leading the country in wind
14 installations, and now we've fallen short behind Texas,
15 by a -- I think we've only got about 6 or 7 gigawatts
16 here and Texas has 20 some odd. So, they've vastly
17 outpaced us and other states are outpacing us year after
18 year. We have really had very much new wind serving
19 California recently. And considering how cheap it is
20 and how well it pairs with solar, that feels like a
21 challenge that can be surmounted and probably will as we
22 get into meeting our RPS and our GHG reductions.

23 The other sort of great thing that we like to
24 think about is, you know, the U.S. is divided up into --
25 you guys are all nerds, you know this, but anyway.

1 Nerds are cool these days, all right, fine.

2 But the U.S. is divided up into three different
3 grids and most of the customers in our Western Grid have
4 followed California's leadership in passing their own
5 very ambitious 100 percent clean energy laws, or very
6 high renewable portfolio standards. Or, the utilities
7 in those states, on their own accord, have suggested
8 that they're going to pursue a deep decarbonization.

9 And that has to do with how cheap everything has
10 become. Again, you're talking about one and two cent
11 power, and just lots of it. It's really an appealing
12 thing to start leaning into and these policies started
13 to be easier to pass.

14 The thing I love is that, you know, 14 months
15 ago there were no 100 percent clean energy laws in the
16 west. I don't think in the -- maybe Hawaii. But on the
17 continental U.S. there were none.

18 And in just the past, you know, ten months or so
19 there have been five states, including California, have
20 passed that. So, that's the majority of customers in
21 the west. And then, you've got these little cities and
22 municipalities.

23 I'm putting this up because when we think about
24 the value that wind can bring to the climate challenge
25 and to meeting all of these ambitious goals, we think

1 about the west as an integrated market. And that's
2 pretty important for sourcing the best wind to the solar
3 in this broad economic system.

4 There's a study -- there's just a lot of
5 studies, so I don't know, we'll do Q&A later. But a
6 study that is just coming out this month on what it all
7 means with those various western states to have such
8 ambitious targets. This is not even, necessarily,
9 meeting climate goals, but just meeting the policies
10 that are on the books. And it's similar, around 9
11 gigawatts per year of utility scale wind and solar
12 needed for 15 years in a row, starting in the mid-2020s.

13 And it's just this huge, huge need that
14 California really triggered and is really a big part of
15 as the largest customer in the west. But there's a lot
16 of neighbors that have a lot of the same ambitions and
17 our electric system is integrated into theirs. And I
18 think none of these states are going to be able to
19 achieve their goals on their own. So, we see wind
20 playing a really big part in meeting all of these goals
21 collectively. And the studies, at least, seem to
22 support that.

23 I put this slide up. This is from NREL. And
24 they did some really great work on, you know,
25 transmission studies. This maps out the three different

1 grids, East, West and Texas. And then, they put where
2 the best solar resources are in the country and where
3 the best wind resources are in the country, and then
4 these red dots are where the load centers are. And this
5 is just one of the problems of living in a very, very,
6 very big space where they kind of built the grids in
7 from the coast, and stopped building them right in the
8 place where it's -- when you're talking about the one
9 cent wind power, that's where it's coming from.

10 And so, you know, we think a lot about how to
11 get this kind of super high quality wind to pair with
12 this kind of super high quality solar, and serve all of
13 these 11 states, most of whom are aligned with us here
14 in California on a demand, and an excitement over adding
15 renewables to the mix.

16 This is, you know, another map of, the NREL map
17 of where it's windy. I bring this up because again, you
18 know, this is sort of the -- this is the contour of the
19 electric grid that we've got and utility scale wind and
20 solar, so the needs that we have in the near term to get
21 to our climate goals and decarbonize society.

22 And, you know, our company's really focused on
23 this kind of hot spot here. And here's -- yeah, so this
24 is something that we've done a lot of. In the past five
25 years or so, our company's wind from New Mexico has been

1 just shy of about 20 percent of the new renewables that
2 have been contracted here in California.

3 About half of the stuff that we have that's
4 operating or contracted to serve the state is in state,
5 and about half is out of state. And these are all wind,
6 financed in conjunction with new transmission, new
7 merchant transmission that never shows up in any
8 California regulatory proceeding because it's built
9 entirely outside of California. So, these won't show up
10 in the interconnection queue, they won't show up in the
11 California transmission planning process. They won't
12 show up in the sort of PUC's identified these are the
13 transmission lines that should be built. These are new
14 build transmission lines to connect the wind to the
15 existing grid, at which point there's capacity that we
16 purchase to get across the different balancing
17 authorities to dynamically schedule into California,
18 serving IOUs, and CCAs, and municipals with bucket one
19 RPS power that sort of meets all of the rules of the
20 policy.

21 That's something that, you know, we know a lot
22 about a pattern, but it sometimes doesn't always
23 register because there's a thought that out-of-state
24 power doesn't count somehow, or shouldn't be though
25 about somehow.

1 But it's very, very competitive in all the
2 solicitations that have happened in the past five years
3 here, in the state.

4 Next year, we're about to start construction on
5 our next big power line, Western Spirit, which will
6 bring about a gigawatt of new wind online, mostly
7 contracted to California off takers. That's passed all
8 of the permits that it needs to. It has all of its
9 state and regulatory approvals. And it's going to be
10 acquired by an IOU out there.

11 And then, after that we're the anchor customer
12 for the Sun Sea Line, which is 2 to 3 additional
13 gigawatts of wind from this very, very high capacity
14 factor place.

15 And that is relevant. And one of the reasons --
16 I know, I'm -- one of the reasons it's so relevant is
17 because the PUC, when they did their studies for the
18 ISO on different scenarios to meet our GHG standards,
19 scenarios that they ran with access to regional wind,
20 through new build transmission, like the stuff they're
21 developing, save customers, you know, up to half a
22 billion dollars per year.

23 Maya's in the back there from TNC, The Nature
24 Conservancy. And they did a study that's sort of not
25 looking at necessarily the costs, but looking at the

1 land impacts and how to build out like needs for
2 California, with the most sensitivity to conservation
3 lands. And it aligns with this thing. It's not only
4 amazing for ratepayers, it's some of the most
5 responsible environmental siting to meet these needs.

6 And, anyway, he's standing up there. That's
7 probably a cue that it's time to go. But, you know,
8 it's a big, cheap part of a big solution that we need
9 and we're here to help.

10 (Applause)

11 MR. STEINBUCK: Thanks very much, Johnny. And
12 apologize that I cut you a little short.

13 We're going to continue the conversation with
14 Adam Stern here, who may continue the wind theme, but an
15 untapped aspect of it. So, he's the Executive Director
16 of Offshore Wind California.

17 MR. STERN: Okay, thank you. Thank you, Jonah,
18 thank you, Commissioners, and thank you to the audience
19 for being here.

20 We're a new trade group that launched just last
21 month, here in San Francisco. We represent, now, seven
22 companies, including some global heavyweights such as
23 Orsted and Equinor, who are working on offshore wind
24 around the world and now have come to California to help
25 develop the opportunity here.

1 I want to just start briefly with a mention
2 about some of the attributes about offshore wind that
3 are particularly attractive, that's been referenced
4 earlier in the discussion.

5 The blue line in the middle is -- basically
6 demonstrates the steady and consistent flow of offshore
7 wind, which is a great complement to the solar patterns
8 that are prevalent here in the state and that the
9 discussion today has helped highlight one of the
10 challenges. So, offshore wind can be a great
11 synergistic addition to the energy supply in this state.

12 I want to describe, as well, the technical
13 resource capacity. This is from an NREL study that was
14 done a couple of years ago. Looked at the full gross
15 potential and then trimmed it down based on a variety of
16 criteria, including water depth, and wind speed. And
17 concluded that there are 112 gigawatts of technical
18 capacity in California.

19 And then, moving quickly to the practical, these
20 are three call areas that have been identified by the
21 Interior Department's Bureau of Ocean Energy Management.
22 They are slated to have auctions in the next year to 18
23 months, at least based on the reports we get from BOEM.
24 So, there's Humboldt Bay in the north, Morrow Bay and
25 Diablo Canyon in the south. And these are all

1 substantial areas that could generate a significant
2 amount of offshore wind for California.

3 And this slide begins to define the scope of
4 those. The lower three are the three call areas I
5 mentioned, but this only a portion of what's possible
6 because there are a couple of other areas further to the
7 north, in Cape Mendocino and Del Norte, which have an
8 even larger amount of resource.

9 And the key technology advance that California
10 is positioned to take advantage of is that most of the
11 offshore projects around the world currently are using
12 what's called fixed bottom technology. They actually
13 have a foundation that connects with the bottom of the
14 ocean.

15 But there's a new, rapidly developing technology
16 where they have floating platforms. And these are
17 spreading across the world. And here's a series of
18 about 15 projects that are in various stages of
19 development. Some actually are already operating. But
20 from Norway, to Japan, to France, and Scotland, and
21 these are both growing size and they're dramatically
22 dropping in cost. And I share this because sometimes
23 the idea of floating technology has been seen as
24 something way in the future, but it's actually happening
25 right now and there are a lot of significant projects

1 that are underway in different parts of the world, which
2 California is going to take advantage of from the
3 lessons that are learned from these projects.

4 And, similarly, because of these advances, the
5 cost of floating offshore wind is dropping dramatically.
6 These are, again, studies that NREL did, and show the
7 decline in costs. And I just want to quickly get this
8 right, going from \$175 per megawatt hour in 2018 to \$70
9 per megawatt hour in 2030.

10 This is a rapidly changing field. And just at a
11 conference a couple of weeks ago in Boston, one saw
12 reports of additional advances that haven't even been
13 fully disclosed in charts like this.

14 But one example I'll just mention, there's a new
15 NREL study about offshore wind in Oregon that shows \$52
16 per megawatt hour in 2032. So, I'm confident, based on
17 the data, that California is going to be positioned to
18 take advantage of not just the advances in technology,
19 but the decline in costs.

20 And here are some estimates that have been made
21 about some of the areas that I highlighted that are
22 within the Interior Department's call areas.

23 There are a series of barriers that we need to
24 work to, to overcome, to take advantage of this
25 resource. The first is transmission capacity. The load

1 is not ideally aligned with where the supply is. And
2 so, this is something that we're going to need to work
3 on as a state. It's probably going to require some
4 significant investments to overcome that.

5 There are certain examples, though, where there
6 is good transmission. And one I'll just highlight,
7 Diablo Canyon, right along the same latitude as the
8 Diablo Canyon nuclear power plant that is due to be
9 retired in about six years. And when that happens, that
10 infrastructure that's there could easily be adapted for
11 use for offshore wind.

12 Secondly, there are some overlaps of the areas
13 that have been identified for offshore wind with current
14 and potentially future activities of the Department of
15 Defense, specifically the Navy. And there are
16 discussions underway between the Navy and the Interior
17 Department to try to work out the conflicts and,
18 ideally, reach some common agreement on the areas that
19 would be allowed for offshore wind development.

20 And then, the decentralized nature of our energy
21 procurement in California today creates a new challenge
22 for us. Because with utilities, CCAs, ESPs there's
23 going to need to be some type of collaboration in order
24 to procure the power at the scale that's going to be
25 required to make offshore wind economic. And that's

1 something that, again, I think is going to require a lot
2 of state collaboration to achieve.

3 And, finally, the permitting, I've heard it
4 said, though I haven't seen the list, that there are
5 upwards of 25 agencies in the State of California that
6 may have some interest in offshore wind siting, and
7 other related issues.

8 It would be a huge boost to the future of this
9 industry if the state, perhaps with leadership from the
10 Energy Commission, could define the permitting roadmap.
11 Ideally, develop a program in which some of the
12 permitting procedures happen in parallel, rather than in
13 sequence, and that would be a great signal to the
14 industry that California is thinking through how to do
15 this permitting process.

16 I don't mean to in any way diminish the
17 importance of the permitting, because there are a lot of
18 issues around fisheries, and other ocean users that need
19 to be accommodated. But let's see if we can do this in
20 an efficient way so that these resources can be taken
21 advantage of as soon as possible.

22 Thank you.

23 (Applause)

24 MR. STEINBUCK: Thanks very much, Adam.

25 Our next speaker is Tim Latimer. He'll be

1 speaking on geothermal. And he's the co-founder and CEO
2 of Fervo Energy.

3 MR. LATIMER: Thank you, Jonah. I'm excited to
4 be here. I think this is definitely a very interesting
5 day in terms of both the magnitude of the issue, but
6 then also listening to how many different options we
7 have in the toolkit to solve it. So, excited to make a
8 contribution on the status of geothermal here.

9 So, Fervo Energy is a geothermal development
10 company. We're currently based in Berkeley, California.
11 Part of the CEC funded Cyclotron Road program there, so
12 already, you know, a beneficiary of the innovation
13 ecosystem that the CEC's built.

14 And we were founded in 2017, out of Stanford
15 University, with an idea of using advanced computational
16 models and targeted horizontal drilling to make
17 geothermal both more predictable and cost effective.
18 And so, we're supported through Cyclotron Road, backed
19 by Breakthrough Energy Ventures, from the venture
20 capital side, and have gotten other grant awards from
21 organizations like RPE.

22 I'm excited to talk about geothermal. I think
23 it's somewhat unique in terms of energy resources in
24 California, in the sense that it's both old and new.
25 Old in the sense that it has been really a renewable

1 energy workhorse in the state for decades. Still,
2 today, it's 5 percent of generation, which makes a very
3 meaningful contribution to the low carbon grid here in
4 California. But it has not grown much and we really
5 need to see different technology or different policies
6 to expand that.

7 So, given the theme of today on grid modeling
8 and options, I'm going to talk a little bit about cost
9 and load profile, and things.

10 And the first one I want to talk about here is a
11 misconception that -- about the load profile of
12 geothermal. So, geothermal is often referred to as a
13 base load resource. In the continental United States
14 and in California it is primarily a base load resource.
15 But people take that to mean that it can only be a base
16 load resource. And if you go around the world to
17 different grids, where geothermal makes up a more
18 meaningful contribution, they ramp it all the time. And
19 it's not really a technology question, it's something
20 that's done quite regularly.

21 And so, I just wanted to take an example here,
22 during the shoulder season in Kenya, which gets over 50
23 percent of its electricity from geothermal energy, it's
24 very common to ramp throughout the daily cycle. So,
25 here's a plant that goes through the evening hours of

1 low demand at 80 megawatts, and then ramps up to 140
2 megawatts to meet the daytime load.

3 And so, geothermal, like I said, if there's one
4 takeaway from this is that geothermal can be flexible in
5 markets where it makes sense to do that or it's
6 incentivized to do that it can certainly be part of that
7 picture.

8 Geothermal has also been -- just since we're
9 talking about barriers, I thought it would be
10 illustrative to discuss what has been successful in
11 Kenya, where geothermal has grown by a factor of ten
12 this decade, to be more than 50 percent of the
13 generation profile. And there's really been three
14 things that have been very successful there from a
15 policy stand point.

16 One is a clear tariff structure that's long
17 term. Geothermal development cycles are three to five
18 years, or longer. You really need to understand what
19 you're doing early in the investment cycle to bring a
20 project online. So, having something that puts that
21 long-term certainty makes a really big difference in the
22 cost of capital and the development timelines.

23 And then, they've also been very effective at
24 using public/private partnerships and innovative risk
25 financing. So, the most costly and risky part of

1 geothermal development is during the exploration period.
2 And a facility they have, called the East Africa Risk
3 Mitigation Facility, puts matching funds for early stage
4 projects that can be anywhere in the development cycle,
5 including confirmation drilling that gets the projects
6 through the riskiest phase.

7 And once a resource is proven out, they've been
8 able to unlock hundreds of millions of dollars of
9 private financing to pick up projects and go forward.
10 So, I think there's a couple lessons that we can learn
11 here.

12 Now, let's back around the world to California.
13 And like I talked about before, it's been a big --
14 geothermal's been a big part of the mix, but over the
15 last 20 years it's been in decline. So, about a 14
16 percent decrease since the turn of the century.

17 And if you look at -- you know, firm capacity
18 was talked about a lot today. It's clearly something on
19 the top of people's mind. And if you look at the
20 preferred system portfolio that came out of the most
21 recent IRP process, it calls for more than a doubling of
22 geothermal generation by 2030.

23 This is doable, but it clearly is going to
24 require something different than what we've been doing
25 in the last 20 years. And so, I wanted to talk a little

1 bit about that.

2 And it's not an issue related to resource. So,
3 the current effective capacity of geothermal in
4 California is about 1,700 megawatts. We need to roughly
5 double that if we're going to hit the reference system
6 portfolio in the IRP to around 3,400 megawatts.

7 And what you can see from resource assessments
8 that have been in the state, that doesn't even scratch
9 the surface of what they call the conventional
10 geothermal resource, which is at least 14,000 megawatts.
11 And it doesn't even get into advanced potential from
12 technologies like enhanced geothermal systems, where
13 there's a lot more to go.

14 And so, it really is not a question of resource
15 availability. We just have a lot more that we could
16 develop here in California.

17 And so, to talk a little bit about the current
18 cost situation, throughout the 2010s, the average strike
19 price for a PPA of geothermal in the U.S. was \$84 a
20 megawatt hour, but it's been trending down in recent
21 years. So, the two most recent geothermal contracts
22 signed in California were at \$68 and \$76 a megawatt
23 hour.

24 And one thing to keep in mind is since 2015,
25 geothermal has not had access to the 30 percent ITC, so

1 these numbers are much inflated relative to what it
2 would be if you had other structures.

3 And so, if you remember the last slide, thinking
4 about resource potential, there's a lot of conventional
5 resource and there's a lot of enhanced geothermal
6 systems resource as well.

7 And so, I think this chart from NREL, from the
8 annual technology baseline is fairly interesting because
9 what it shows is that of that conventional resource,
10 there's actually a lot of it that would be in the money
11 today, and that we can develop. And that's why we're
12 seeing geothermal grow by a few hundred megawatts over
13 the last few years, and will continue to do so.

14 But also, in the right technology scenarios,
15 where we properly incentivize R&D, you see the costs
16 falling for other types of resources as well. So,
17 whenever you reach that 2030 timeline, even the enhanced
18 geothermal systems resource, and the deeper resources,
19 and the lower temperature resources could quite possibly
20 be in the money. And that's where you get to tens of
21 thousands of megawatts of potential.

22 And there's major technology development
23 underway. The figure from the left is from the
24 GeoVision Study, which was a multi-year study released
25 by the Department of Energy this year, that outlined a

1 path to get to 60 gigawatts of geothermal in the U.S. by
2 2050, and the technologies that we need to do there.

3 And there's also exciting things going on. The
4 FORGE Initiative is a \$140 million geothermal test bed
5 located in Utah, that's the largest ever field
6 demonstration of geothermal to date. So, there's -- so,
7 that is going to bring a lot of technologies to the
8 field demonstration level that have never been tried
9 before.

10 There's also technology transfer opportunities.
11 Anybody familiar with the U.S. energy markets can tell
12 you that the advent of unconventional oil and gas has
13 been one of the biggest surprises and technology stories
14 of the last 20 years. And a lot of the technologies,
15 like directional drilling that made oil and gas
16 unconventional and cost effective, have strong
17 applications in geothermal. So, the technology transfer
18 could make a big deal.

19 And another thing that's big both from the
20 federal level and in California today is lithium and
21 other strategy mineral coproduction. So, there's
22 organizations and initiatives going on where you can
23 actually domestically mine lithium straight from the
24 geothermal brine that's produced.

25 And so, not only can you produce clean power

1 around the clock, but you can get a strategic resource
2 like lithium, which is key to our clean energy future,
3 directly on site.

4 I'll talk a little bit about Fervo. The key
5 innovation we're bringing is drilling down and drilling
6 horizontally at depth, which leads to a much more
7 predictable development cycle and leads to flow rates
8 that are as much as four times higher than traditional
9 geothermal, which we've shown through our modeling
10 capabilities, and other evaluation work, and really
11 reduce the risk profile of geothermal development. And
12 create resources in different geologies, and with a lot
13 more predictability than have been done before.

14 In terms of things we can do right here in
15 California, the first and most important thing is field
16 level drilling and reservoir research. The other things
17 that are cool about geothermal only work if we get the
18 cost down enough for drilling. And the only, really,
19 way to innovate in the space is through things at the
20 field level. So, there's only so much you can do before
21 you actually go out and drill new wells, and test new
22 technologies at the field.

23 I think there also needs to be more work in
24 terms of flexibility studies and market design.
25 Geothermal can be flexible, but it needs to have the

1 right markets to be able to do it. And scaling up some
2 of the promising technologies around mineral production
3 is quite interesting.

4 So, I think there's a chance to -- for
5 geothermal to make a much larger contribution by 2030
6 than it is today. It's a really unique resource that
7 has a lot of qualities to it.

8 And in terms of things that are conventional
9 resources that are ready to develop, the estimate of
10 what's at the right depth and cost picture is pretty in
11 line with what comes out of the CPUC's preferred system
12 portfolio, where I think 2,000 new megawatts by 2030 is
13 a very reasonable target.

14 And then, as we bring costs down for more
15 advanced geothermal systems, I think from 2030 and
16 beyond there's a lot more resources we can access, so
17 that there's a much larger potential for geothermal in
18 the state, getting up to 10,000 megawatts or more.

19 Thank you for your time.

20 (Applause)

21 MR. STEINBUCK: Thank you, Tim.

22 Our final speaker is Dr. Stephen Kaffka. He's
23 going to be speaking on biomass and biofuels. He's the
24 Director of the California Biomass Collaborative at UC
25 Davis.

1 DR. KAFFKA: Thank you. This is a complicated
2 topic. And biomass, when we use it and think about it,
3 it's hard to isolate a simple power production from fuel
4 production, and even from bioproduct production.

5 So, I'm going to try to provide an overview of
6 all those various ways in which biomass might be used in
7 California. I'm not sure which side to look at anymore.
8 So, you'll maybe get a crick in your neck, we might go
9 on the other side.

10 This is a figure from a recent CARB meeting on
11 neutrality, and these are quotes from Dr. Nathan Lewis,
12 a Caltech scientist. He mentions that there's some
13 technically difficult energy sources that have to be
14 addressed and they include both aviation, and long-
15 distance transport, industrial materials, and highly
16 reliable electricity, which we're obviously seeing
17 problems with currently.

18 He mentioned that biofuels are one potential for
19 some of these. It's not the only one. There are other
20 synthetic processes, but they're not yet developed. And
21 to achieve all of these goods we need systems that have
22 robust storage and have flexibility in generation.

23 So, this is the tricky biomass. It's an
24 interesting slide. The things that are going to be more
25 difficult to deal with are the things like long-distance

1 transportation and aviation. Carbon and energy that
2 goes into iron, and steel, and cement. And then, load
3 following electricity. And biomass has a role in all of
4 these places, potentially.

5 This is an interesting figure from a recent
6 study that shows -- that mapped solar and wind, I think,
7 resources for California. And there are areas during
8 the year, periods of time during the year where there
9 are deficiencies, typically, from a climate perspective.
10 Now, some of those might be addressed through the very
11 innovative approaches that we've been hearing of today,
12 but they're real and they represent a significant
13 challenge that we've been hearing about.

14 So, I want to talk a little bit broadly about,
15 first, biomass resources in California from the major
16 sources, and then a little bit about transformation
17 pathways and opportunities, and how they might be
18 integrated. And talk, lastly, about no regret uses for
19 biomass.

20 This is a figure that comes from the
21 Collaborative. It's an older figure and it indicates
22 that we have resources, fairly abundant, gross supplies
23 of biomass from both AG, forestry, and urban sources.
24 We can -- you know, have done these kinds of projections
25 on a gross and technically available basis, but none of

1 these have necessarily dollar signs associated with
2 them. They're just basically what are the resources.

3 More recently, these maps were produced using
4 some of our same data by a group, for a recent CEC
5 report. And you can see, actually, that the resources
6 are distributed very differently. Obviously, the AG
7 resources are in the Central Valley. The forest
8 resources are in the Sierra, Cascades, the Siskiyou's
9 and the Coastal Regions. And the urban biomass is
10 largely where the people are in Northern and Southern
11 California.

12 There are objections to the use of biomass.
13 Some of the utilities regard biopower as expensive,
14 polluting, and actually no longer needed in the future.
15 There's some discussion about whether biomass is or may
16 not be carbon neutral. We know that accounting for
17 biomass is very difficult. And perhaps some people
18 argue it's compromised by unavoidable epistemic error.

19 And there's some people who worry about biofuels
20 competing with food production, for example, and
21 emitting, leading to secondary pollution.

22 Some of these criticisms are fair, but I think
23 that there are prudent and abundant, and potential uses
24 in California, particularly that avoid all these
25 criticisms.

1 Now, biomass is complicated. You have
2 complications on production, collection, processing
3 storage. There are diverse transformation pathways and
4 technologies within those pathways. And there are
5 numerous products that come from biomass. There's
6 certainly energy, both in the form of heat and
7 electricity. There's various kinds of fuels and there's
8 various kinds of products.

9 So, all these pathways are potential uses and
10 some of them actually are co-combined, together, in
11 certain processes.

12 Let's first talk about the biochemical one,
13 which is anaerobic digestion. Basically, it's the kind
14 of fermentation that takes place in a cow's rumen. You
15 have usually high moisture materials and you produce
16 methane and some other gases, and that methane can have
17 a number of uses.

18 This is a net recent estimated. A colleague,
19 Rob Williams, has done this for the Collaborative that
20 estimates biogas potentials from dairy manure, poultry
21 manure, landfill gas, wastewater treatment plants, and
22 municipal solid waste. Those are all sources that can
23 lead to new renewable natural gas supplies.

24 I'm not going to stick on these slides because I
25 have a lot of material to cover, but they'll be in the

1 presentation and you can look at it. And you can see
2 that there's a certain judgment call about how much of
3 each resource, for example, is likely to be developed.

4 Now, let's first talk about the thing that most
5 people think is really -- don't have any issues with,
6 and that is the use of urban residual resources. And
7 you can see this is a system, this is the location of
8 L.A., in the L.A. region where you see landfills and
9 wastewater treatment facilities.

10 If you want to know one place with a lot of
11 biomass, it's Los Angeles. There's a lot of biomass in
12 Los Angeles. It's biomass of this type. It's recycled
13 carbon materials. Green materials from yard trimmings,
14 foods, old construction and demolition lumber, paper and
15 cardboard. A large portion of what is basically tossed
16 away by urban households is organic and has potential
17 energy uses.

18 This is from a study we did for the Energy
19 Commission a few years ago, of the L.A. region. And you
20 can see various locations where you have MRFs, where
21 biomass is already collected at cost. And there's
22 actually quite a large energy potential embodied in the
23 biomass in that region, from those materials.

24 Again, it's a little hard to see in the graphs
25 here, but you can look at it later.

1 Just, for example, a really stellar project that
2 has been developed is CR&R's. It's an Inland Empire
3 located waste management company that is now collecting
4 yard waste and food waste, is digesting them
5 anaerobically. They're producing renewable natural gas
6 that powers their collection vehicles. They have an
7 injection point for Southern California Gas, where that
8 surplus biogas can be injected into the pipeline for
9 users. And they're making compost out of the residual
10 materials. And now, they've recently developed a
11 residual carbon feedstock that's going into cement
12 manufacture.

13 So, you really have an example of a circular
14 economy, with a number of pathways and products that are
15 coming out of the biomass resource use.

16 However, it's difficult to develop these
17 projects and partly because of policy. And I have to
18 actually mention this just briefly. Other
19 jurisdictions, the U.S. as a whole, USEPA, and certainly
20 Europe include waste energy recovery as part of their
21 waste management, but California does not. And that's a
22 function of statute in California.

23 So, there are actually certain barriers to the
24 full use of some of these materials in statute. Those
25 things make it difficult to generate gasification

1 projects, for example, because of restrictions on
2 emissions particularly from gasification projects.

3 And we don't have a performance base for energy
4 recovery from waste, like we do the low carbon fuel
5 standard. I can't really talk too much more about that.
6 That's a talk in all of itself, but I want to mention
7 that they're there and they're barriers.

8 Now, there's lots of thermal technologies. We
9 have a traditional combustion system, which I'll mention
10 in a minute, and there are gasification pyrolysis
11 technologies, which are also possible from biomass and
12 which have, I think, a role in the potential future.

13 This is an existing biomass energy facility.
14 The state built a large number of them during the '70s
15 and '80s and they're located all around the state.
16 Currently, there are almost 50 that were built, but only
17 23 are operating and 10 are idle, but are still
18 operational and could be brought back on.

19 What do they use? They use various AG residues,
20 like old orchards, and vineyard prunings and old trees.
21 They use food processing residues, bits and nuts, and so
22 on. They use clean urban wood and some of them use
23 forest residues.

24 Now, the interesting things is that these
25 systems, one of the justifications is that they were

1 first built to reduce pollution from open burning and
2 other disposal pathways for these materials.

3 This is a summary of the biopower facilities in
4 California and gives an idea of their megawatt
5 capacities. Actually, I have 27 there and now the
6 number's down to 23. So, this is a little bit out of
7 date just in this last year. There's a lot of turnover
8 in this industry at the moment. But it gives an idea of
9 what the current capacity is and what their sources are.

10 This is the traditional technology associated
11 with biomass energy facilities. It's a rank and cycle
12 boiler that basically burns biomass, creates steam and
13 turns a generator. You can see there's different types
14 of technologies that have different efficiency bases
15 that are already embedded. They were built for a little
16 bit between two and three thousand dollars per kilowatt
17 originally, and now those costs are higher. They have a
18 range of around 20 to 25 percent efficiency and so on.

19 This is the permitted emissions from 33
20 California solid fuel bio energy facilities. The carbon
21 monoxide, you can see they range quite a bit, especially
22 for CO, but these are taken from the permits from those
23 facilities and it gives you an idea of what those
24 criteria pollutant emissions are. There's some
25 emissions associated with combustion, certainly.

1 However, the emissions from combustion in these
2 controlled facility are significantly less than the
3 emissions from open burning and, certainly, from forest
4 fires. You can see that there's been an increase in
5 recent years, with the closure of some of the biomass
6 facilities in the Central Valley, of opening burning of
7 orchard residues.

8 And these are some of the criteria pollutant
9 emissions that occur from open burning emissions. This
10 is on the website. We have a report that's going to
11 publish this table very soon. And, in fact, they're
12 quite significant from open burning and from forest
13 fires.

14 And the biomass facilities may reduce these
15 emissions by up to 98 percent. So, they're certainly
16 not pollution free, but they're certainly pollution
17 minimizing.

18 Now, here's another interesting way in which
19 they are important. So, the almond industry did a
20 lifecycle assessment of how much carbon is associated
21 with an individual almond or with producing almonds in
22 California. And one of the reasons why it looks like
23 almond production is very energy efficient is because
24 when the trees are taken out and removed, energy is
25 recovered from them. If you take that away, the

1 lifecycle emissions from almond production and other
2 tree production in California go up. That means that
3 reverses some of the goals for the state's program on
4 reducing AG emissions.

5 And it's actually we're facing a larger and
6 rapidly increasing supply. There's a lot of old almond
7 trees sitting around in the state that were planted
8 years ago, and need to be removed and replanted, and
9 tossed out on the burn pile. So, they're aging out and
10 need to be replaced, just like old folks like me. So,
11 the amount available is expected to increase. So, this
12 problem is actually going to increase in scale.

13 Now, I just wanted to mention, while we're
14 talking about combustion, that combustion resources are
15 a very common pathway in Europe and that a lot of
16 European countries co-fire biomass with their
17 traditional coal resources. They use waste recovery,
18 which is another biomass source, for their energy
19 program. And they use -- they still have large amounts
20 of recycling and composting going on.

21 So, here's a very nice picture from the IEA
22 Bioenergy Report from 2017, which looks at multiple uses
23 for combined heat and power operations. This is from
24 Stockholm. Not only is the biomass used for energy, but
25 then heat is recovered and transferred through water,

1 and hot water into those systems. Europeans regard
2 properly sourced biomass as carbon neutral.

3 And another one of the approaches that IEA
4 Bioenergy is pursuing is the use of biomass energy as a
5 peaking supply. In other words, to help meet
6 deficiencies in other renewables. And they're thinking
7 about pricing it accordingly as a peaking supply. It
8 helps overcome some of the price disadvantages,
9 potentially, of biomass under their conditions.

10 Now, I want to talk a little bit about advanced
11 thermal pathways, just to make sure we include them,
12 because these are potentially the future for the use of
13 biomass, at least for a number of uses. They're
14 characterized by these high temperature and high rates
15 conversion. It can convert almost all the biomass to
16 energy, or power, or fuel produce, and it prefers the
17 drier feedstocks. So, this is basically the kind of
18 products that come from thermal gasification. You get
19 carbon monoxide, hydrogen and other products. You can
20 make methane from it. You can create hydrogen from it.
21 You can create heat and power from it. And you can
22 create anything. Once you get producer gas, you can
23 make a lot of different products.

24 There's different kinds of combinations for
25 these thermal chemical pathways. One's a gas fire to a

1 gas turbine. You can then also add to that heat
2 recovery. You can use biomass as part of a co-firing or
3 as a standalone integrated gasifier. You can add fuel
4 cells. We don't have time to talk about them all. I
5 just want to -- these were all summarized in a
6 presentation to the Energy Commission, the data I'll
7 show you some of now, mostly created by Rob Williams
8 back in 2014, for a report.

9 This is the levelized cost from a biogas --
10 biomass integrated gas fired combined cycle system,
11 estimated. There's both installed cost estimates and
12 levelized cost estimates. These are based on dollars
13 per kilowatt hour. We don't all always use the same
14 units, unfortunately. But, again, there's economies of
15 scale. This is all from the literature and little bit
16 of modeling projection.

17 Now, in this presentation that I'm talking
18 about, I'll have some supplementary material that covers
19 all the other kinds of cost curves for gas fires, but we
20 don't have time for that today.

21 And this is a levelized cost summary from that
22 same study that compares various technologies, like MSW
23 from anaerobic digestion with gasification, which exists
24 with dairy digester biogas, and with potential new
25 systems, which are the red bars, for some of these more

1 advanced thermal chemical techniques. And you can see
2 that some of them are actually reasonably within the
3 price range of other biomass systems.

4 Now, here's another thing that I wanted to
5 mention that a couple of years there was a meeting about
6 this little, tiny insect called the polyphagous shot
7 hole borer. It's an invasive species from Sri Lanka and
8 it's invaded Southern California. It's killing
9 sycamores, it's killing oaks. It's killing all kinds of
10 shade trees and it might explode in Southern California.
11 And the only thing you can do is to take those trees
12 out. But you can't ship them because the insects spread
13 in ships. You have to grind them. There is no disposal
14 pathway for this potential increase in wood in Southern
15 California. And so, gasification might be a perfect
16 outlet or end product for this. We hope that this
17 doesn't happen and we hope it doesn't spread. We hope
18 it especially doesn't spread to the rest of the state.

19 But this is the point, the point I want to make
20 is that when you're talking about resiliency on a large
21 sense, these kinds of facilities can have a great role.

22 Now, there are not too many large-scale
23 gasification systems, but we just came across one called
24 National Carbon Technologies, which is built to scale in
25 Michigan. And this gasification system is primarily

1 emphasizing bioproducts, but also makes energy. So,
2 they have very interesting bioproducts. So, they're
3 making metallurgical carbon, activated carbon, energy
4 carbon which can be used to substitute for coal, and
5 biochar. And all those products have multiple uses.

6 So, when we're thinking about use of biomass
7 these products, and energy products, are also integrally
8 connected.

9 I'm going to go quickly over forest biomass.
10 Now, we all know that our forest fire problem is
11 horrendous. As you can see in this picture from the
12 Camp Fire last year, you can't quite see me. I'm under
13 there somewhere. I'm under that plume. A lot of us
14 that lived in the Sacramento area were under that plume.

15 So, you have health effects as well. And it's
16 these kinds of things that need to be considered when we
17 think about our energy policy as a whole.

18 We did a study again for the Energy Commission,
19 a few years ago, that looked at the potential in this
20 case to create liquid biofuels from woody biomass, using
21 various modeling techniques. First, the Biosome Model
22 from USDA, then a transportation model. I'm going to
23 skip this. This is just the technology for biomass to
24 liquids.

25 And we came up with breakdowns of cost curves,

1 NOx emissions potentials from optimally sited biomass
2 facilities throughout the state's forests. Now, this
3 would apply actually for power facilities as well.
4 These were for liquid fuels, but it would apply for
5 power facilities as well.

6 And the study was based on thinning and
7 maintenance of forest health. In other words, if you
8 maintained forest health through a prudent thinning
9 program, how much biomass could you generate from each
10 area of the state in those particular areas?

11 And so, most of them were in the northern part
12 of the state. It turns out that the Sierra is hard to
13 locate because there's so much national park land, and
14 those were excluded, and there's so much steep area
15 without access roads. But nonetheless, there's an
16 opportunity for strategically locating biomass
17 concentrating facilities that will help with the forest
18 fire and forest fire problem, and help maintain forest
19 health.

20 Now, a little bit about agriculture. I'll
21 finish here. Agriculture has right now -- it is the
22 source for biofuels. Most of our biofuels in the
23 country, though not all, we use waste, fats, oils and
24 greases as well. Renewable natural gas can be used
25 directly for transportation, but also as a hydrogen and

1 methane source. And according to the Energy Futures
2 Initiative, they see these fuels continuing to play an
3 important role in the future of the state, and also of
4 the country as a whole. And that the development of
5 these renewable gas resources in California has multiple
6 benefits.

7 So, we have a million dairy cows in the San
8 Joaquin Valley. We did a study for the Air Resources
9 Board, looking at the cost of methane mitigation from
10 manure storage. The cost is less on large dairies and
11 declines as dairy size increases. But those dairy
12 systems are also the most reasonable ones in which to
13 invest recovery facilities.

14 I'm going to skip this. There's too much
15 information here. These are the various kinds of
16 digester technologies and their cost for mitigation cost
17 reduction. The lowest one is a covered tier one lagoon,
18 with the flare. We don't want to flare it. I'm going
19 to talk to you about an alternative.

20 These are the four ethanol facilities in
21 California that import corn and produce ethanol that's
22 sold in the market. They also sell dairy feed from
23 those. All of them are evolving into integrated
24 biorefineries. I'm just going to talk about one because
25 we only have time for one at the Aemetis.

1 Aemetis has a plan to, and in fact is in the
2 building stage of recovering tree woody biomass and
3 converting it into ethanol. There's their gasification
4 system. So, they're going to be able to take some of
5 that woody biomass, perhaps a large amount, and through
6 their lines of technology process create ethanol and
7 blend it with their other ethanol processes. They're
8 going to also make biodiesel from corn oil and other
9 feedstocks.

10 And they're also installing pipelines from about
11 20 dairies to bring biogas directly from the dairy to
12 their facility, where it will be conditioned, replaced
13 through natural gas, and be injected into pipelines or
14 used for transportation.

15 So, you can see they also have plans to do
16 carbon capture and sequestration from CO2 emitted from
17 their ethanol process. So, these traditional corn
18 ethanol facilities are the locus for innovation for
19 advanced transportation fuels and other energy sources
20 in the state.

21 So, lastly, I'm done. How should we think about
22 in state feedstock production and use for biopower fuels
23 and bioproducts? I think we have to consider that there
24 are important public goods associated with the prudent
25 management of biomass. Those are healthy forests,

1 methane reduction from dairy farming, reduction in the
2 open burning of AG residues. The Delta preservation,
3 which I didn't talk about, but this can be linked and
4 linked to biopower. These are all linked to biopower
5 and fuel production.

6 This will create a lot of jobs, especially in
7 rural areas, which I call a rural justice benefit. It's
8 not a carbon goal. And that the prudent biomass use for
9 energy has to be part of our sustainable management in
10 the state's economy, and it's the only way we're going
11 to develop a fully circular economy in the state.

12 So, I want to urge that we not isolate our
13 energy policies and silo them from the achievement of a
14 wider set of important public goods that are and can be
15 integrated with energy solutions that use biomass.

16 Sorry for going so long.

17 (Applause)

18 MR. STEINBUCK: Thank you very much for that. I
19 have a couple questions, but I want to turn to the dais
20 for Commissioner questions and, if there's time, I'll
21 have one or two.

22 CHAIR HOCHSCHILD: Yeah, just thank you to
23 everyone. You know, this process feels a little bit to
24 me like game planning for a football game with players
25 that we don't yet know we'll have, and maybe some

1 positions as well.

2 And so, one of the questions that's on my mind a
3 lot is what the highest order priorities ought to be for
4 R&D to best support our success. I'd like to just
5 quickly kind of go down the line and just hear from each
6 of you.

7 Don't feel obligated to, you know, tell your
8 particular technology. Just I'd love your perspective
9 looking at the big picture of where we can make the most
10 headway with our R&D priorities.

11 And, Leila, let's start with you as a recipient
12 of Energy Commission grant money. I'd love your
13 perspective.

14 MS. MADRONE: Yes. So, from an R&D perspective,
15 the place where I see that things are still really
16 sluggish in the solar industry is really on the
17 deployment front. So, we have the right -- this is kind
18 of what I was talking about before. We have the right
19 components, they're low cost enough. It's the putting
20 them together in a really efficient way, in an optimized
21 way that takes the best advantage of the land and labor
22 force that I think we really need to focus on. And that
23 could be a different type -- we're a different type of
24 component that enables those things. But it could also
25 be things like thinking about new ways of automated

1 installation, or new financial innovations.

2 We've really been a component focused industry
3 and I think we need to start thinking more holistically
4 and system engineering wise.

5 MR. CASANA: Yeah, I would agree that deployment
6 is a really major challenge, more than developing new
7 pieces for utility scale wind and solar. But there is
8 a point of R&D that I think is really critical in terms
9 of plugging these two very, very viable commercial
10 technologies to actually run the grid and do the work of
11 it, and that's inverter based capacity, where I think
12 there's a huge opportunity in terms of integrating the
13 Western Grid and sourcing power where it's generated to
14 where it can be used in a weather dependent way. It's
15 extremely cheap, extremely affordable.

16 But you've got to design grid management
17 software that can take inverter based electricity and
18 sort of emulate what physical turbines do when they turn
19 in a large, you know, once-through cooling plant, or a
20 coal plant, or a nuclear plant.

21 And that research is out there. There's a lot
22 of initial work that's been done. But I think that
23 that's one of the most interesting parts of doing the
24 research that we need to put these pieces together to
25 achieve our goals.

1 MR. STERN: So, a lot of things that could be
2 researched, but I'll just highlight one. Port
3 infrastructure. There's an opportunity for California
4 to build a very sizeable industry to support the
5 development of offshore wind, not just in California but
6 in other places.

7 And if this can be thought through in advance,
8 and the investments made in ports, California could have
9 a new dimension to its economy. And there are great
10 examples that are already unfolding in Northern Europe,
11 in Denmark, in Norway. And now, in the East Coast,
12 there are 22.5 gigawatts of offshore wind that are in
13 the planning or contract stages on the East Coast. And
14 many of those, the states are investing in their ports
15 and I think California should make sure it builds on
16 those lessons and develops its own homegrown industry.

17 MR. LATIMER: For geothermal, the big question
18 is how much can be cost competitive. And the largest
19 driver of cost is definitely your drilling cost and your
20 reservoir performance. So, I think that's where we need
21 to prioritize the R&D dollars. The things that I talked
22 about in terms of flexibility, lithium coproduction are
23 all things that are really nice to have, but the
24 necessary thing is drilling cost to make sense.

25 And the valley of death for geothermal is very

1 much at the field demonstration level. We have a
2 tendency to fund a lot of small, lab-based projects, and
3 then let technology stagnate for truly decades because
4 they can't get the hurdle of the field-based cost.

5 The Department of Energy and the federal
6 government is addressing that through the FORGE
7 Initiative to create a field level test bed. There's
8 also a bill in the Senate right now that would do four
9 new public/private demonstration facilities throughout
10 the U.S. And I think California is in a unique position
11 to do something similar in order to create -- identify
12 and create test beds for field deployment of geothermal
13 technology.

14 DR. KAFFKA: I think that there's a lot of work
15 that can be done or at least focused on carbon capture
16 and sequestration from biomass related facilities and
17 other facilities in the state.

18 Getting to carbon neutrality will require, I
19 think, things that are basically carbon negative,
20 processes that are carbon negative. And some of the
21 biomass related processes offer that opportunity. And
22 support for both policy and for research in that area I
23 think is really important.

24 I think it would be helpful to have some
25 additional support and work on advanced gasification

1 systems, especially those that might go at scale. We
2 have a program, the BioRAM Program that supports small
3 scale gasification facilities and that's an appropriate
4 pathway, but there might be room for larger scale ones
5 as well. In fact, I think there are in the right places
6 and times.

7 But it's difficult to get over the scale from
8 the laboratory scale, or bench top, or small scale to
9 larger scale facilities. And it would be useful for the
10 state to identify processes and good programs in that
11 area.

12 I also think it's important in the SB100 and
13 other state policy areas to properly evaluate biomass
14 and not to discount it too prematurely, and make sure
15 that our models are in good shape in terms of evaluating
16 it.

17 It's a difficult process, the lifecycle
18 assessment and co-benefits associated with it. And, in
19 particular, how do we value healthy forests and clean
20 air from wildfire reduction, or from a reduction in open
21 emissions, when that's not strictly a carbon based
22 benefit, but is really, clearly, a large public good.

23 MR. STEINBUCK: Well, I had one other question
24 that I wanted to ask. We have a few minutes, and so if
25 you'd just give brief responses that would be

1 appreciated.

2 Tim, you had mentioned kind of the flexibility
3 of geothermal being an option and the example in Kenya.
4 I'm curious what that means in terms of your plant and
5 how you might need to account for that, and how it might
6 affect your cost.

7 And for others, I'm hoping you can also address
8 just intermittency and balancing the grid and
9 flexibility. So, Dr. Kaffka, kind of the responsiveness
10 of bioenergy resources as being a flexible supply
11 source. And then, for wind and solar, kind of how to
12 manage that intermittency, if there's advances in
13 forecast for example that you're seeing, or any other
14 trends in the space to manage intermittency.

15 So, if you could address that briefly. I know
16 it's a big topic so, thanks.

17 MR. LATIMER: For geothermal, I mean the
18 challenge historically has been that there is relatively
19 no marginal cost for operating geothermal. So, under
20 traditional markets, where it's a small enough picture
21 that it doesn't actually, you know, ever exceed the
22 minimum base load requirements that you wouldn't ramp
23 it.

24 But what I think you're seeing in markets like
25 Kenya, it's so much of the grid that it has to be

1 ramped. And in markets like California, we've become
2 such a solar heavy market that it's shifting the value
3 away from bulk energy to these other services. So, I
4 think the question is, you know, there's no cost benefit
5 to ramping up and down, but at what point does the value
6 exceed the lost megawatt hours that in California it
7 would be not producing during the day.

8 And I think that there's really interesting
9 market design questions around that, and there's also
10 some interesting technology opportunities in terms of
11 how you can fluctuate the injection and production, what
12 you can do with that excess heat during the day if you
13 choose to monetize it, that need to be answered.

14 But ultimately, I think it's a question of
15 market design and we're at a point where the markets are
16 changing so rapidly in the Western U.S. that the value
17 of flexibility, reliability, capacity is becoming a
18 different part of the picture relative to bulk energy.
19 And so, it's time to innovate on the flexibility front.

20 DR. KAFFKA: Well, I probably tried to cover too
21 much. But load following, basically biomass is stored
22 solar energy. That's what it is. And the existing
23 biomass to energy facilities have some capacity to do
24 ramping. Not so much, traditional boilers are a little
25 harder, but they can follow. But I think the

1 gasification systems have real potential for that
2 purpose. So, that's one of the reasons that I would
3 emphasize that we need to be able to think about it that
4 way.

5 And in doing so, the co-benefits of the use of
6 that biomass when it's prudently sourced need to be
7 accounted.

8 MR. CASANA: Sure. You know, one of the things
9 that I often think about is the wholesale grid itself
10 was designed to overcome the intermittency of coal, and
11 nuclear and gas plants. So that when one shuts down for
12 maintenance, there's plenty of power to source the
13 others.

14 I think that one of the reasons I'm such a big
15 believer in the usefulness of our wholesale grid to
16 solve climate is to integrate, you know, vast amounts of
17 wind and solar from the best parts of the whole grid
18 region. So, that way you get something like a symphony
19 of power. You get extremely high quality wind that
20 ramps up in the afternoon, right as the sun's coming
21 down. That's something that are wires are mostly
22 equipped to solve, but our grid managements software is
23 not quite yet. And you hear about the integrated
24 Western Grid, you know, that's one of the things that I
25 think is most essential in solving that problem.

1 MS. MADRONE: I'll say that one thing I've seen
2 on the solar front is everyone's talking about how we
3 need storage and everyone's expecting that we're going
4 to build all of this storage. But I haven't seen anyone
5 who's figured out how to make money from doing that.
6 And, unfortunately, that's the way that business is
7 scaled and that's the way we get to large deployment.

8 There's no value to a company if we help the
9 grid become less intermittent. So, you can be a storage
10 company and no one's going to give you any kind of money
11 for making the grid better.

12 And so, I think one thing we have to think about
13 is how do we put a value on resiliency? And then, how
14 do we make sure that a company can get paid for creating
15 resiliency on the grid because we don't have that right
16 now.

17 And that means that building things like
18 storage, now, are just going to be driven by policy and
19 they're not going to be built by real return on
20 investment. And if we want things to grow, they have to
21 be based on real ROI. And I haven't seen any kind of
22 innovation on that front, yet.

23 MR. STEINBUCK: Great, thank you all. I
24 appreciate the responses and, again, for the very
25 informative presentations and for sharing this

1 information with us. It's very helpful for the SB100
2 process. So, thank you for taking the time. And I look
3 forward to continuing to engage with all of you. And
4 the last comments are a perfect segue because we'll be
5 discussing storage in our next panel, among other
6 emerging technologies. So, thanks again for all of the
7 comments.

8 (Applause)

9 MR. STEINBUCK: So, we're doing a little bit of
10 a transition here to the second panel. As I mentioned
11 before, the second panel is going to focus on a more
12 emerging technology areas that can further contribute to
13 and enable the 100 percent clean energy future. So,
14 we'll be discussing the state of the market of some of
15 these technologies, modeling approaches that may be
16 appropriate, cost trends, and innovations. And again,
17 to inform where we're headed with our analytical effort
18 and, ultimately, pathways for SB100 implementation.

19 Okay. I've been informed that we're going to
20 take a five-minute break. So, feel free to stretch.
21 We'll reconvene shortly.

22 (Off the record at 2:34 p.m.)

23 (On the record at 2:42 p.m.)

24 MR. STEINBUCK: Okay. And for those that are
25 online, we've just reconvened here for our second panel

1 to discuss a range of emerging technology areas that are
2 going to be supporting our clean energy future.

3 And so, we'll start off with Miguel Sierra
4 Aznar. He'll be speaking about gas plant retrofits.
5 And he's the CEO and cofounder of Noble Thermodynamics
6 and also a Fellow at Cyclotron Road. And appreciate his
7 partnership through that initiative.

8 MR. SIERRA AZNAR: So, thank you, everyone.
9 Yes, as Jonah just mentioned, I'm Miguel from Noble
10 Thermodynamics. I'm not here to advocate for natural
11 gas, just in case somebody has tomatoes ready. But my
12 talk, it's around looking at the reality and the fact of
13 where we are and what we have to do to accomplish the
14 goals that we have set forth for California, and the
15 United States and, in general, globally.

16 So, this is the same old, same old chart that
17 you see everywhere. It's a normally (indiscernible)
18 analysis. You can make a copy based off that, change
19 the number and you have the same picture for California,
20 which is increasing population with -- population with
21 economic growth. Obviously, energy consumption and thus
22 emissions.

23 Through this, we are all really excited that
24 solar and wind, and more renewables are coming in. I
25 mean, the previous panel talking about geothermal,

1 talking about expanding the market, which I think from
2 my point of view is crucial to actually get this
3 leverage of bringing more solar into California, and
4 more wind into California.

5 But the truth of the matter is that natural gas
6 continues to grow. We can't sell in California, but
7 that's not the case. But at the country level natural
8 gas is actually growing faster than renewables. And
9 that is definitely opposite of celebration, right.

10 And the reason why is, obviously, natural gas is
11 becoming cheaper and cheaper, and now to a point where
12 it's completely stable. So, we have a really stable
13 price in the \$3 to \$4 a million BTU. And that hasn't
14 gone up. It hasn't gone down, either. But it hasn't
15 gone up. And that is motivating a transition and
16 integration of more natural gas as we retire coal, as we
17 retire aging capacity. As we retire, in some cases,
18 nuclear. That is now being substituted with solar all
19 over the country.

20 And, actually, this image is only showing you to
21 2018. 2019, actually, natural gas continues to spike in
22 terms of production. Now, is natural gas going
23 anywhere? No, it's not going anywhere. Natural gas
24 continues to grow globally and there's also not motive
25 to not celebrate and to be sad about it, but to realize

1 that if we really want to do integral change in our
2 power sector, we really need to face reality. We need
3 to diagnose that this is as it is. And as it is means
4 natural gas continues to grow.

5 And what that means that the prime movers of the
6 economy, both in California and anywhere, is these three
7 machines, right. And as you can see, I come from a
8 technology background. We are technology developers, so
9 I'm going to talk from a technology perspective.

10 And these are producing 83 percent of the energy
11 that the economy consumes, right, of these three
12 machines. Now, today, we are looking for these three or
13 these four value propositions. This is what we're
14 looking for. How do we search and how do we find them
15 is a different discussion, but this is what we're
16 looking for. And today, we're only fulfilling the first
17 two. Natural gas only fulfills the first two.

18 And then, the reason -- and what you can see is
19 this is actually the natural gas growth in the United
20 States until 2019. And you can see in orange is natural
21 gas.

22 And funny enough, I haven't even plotted natural
23 gas completely. That is just peaking power plants.
24 That doesn't include combined cycles, that doesn't
25 include steam cycles. That is completely gas turbines

1 and internal combustion engines in the country. So,
2 that's about 100 gigawatts of capacity just in peaking
3 plants.

4 Now, as I said before, this is renewable energy
5 in the United States and this is natural gas in the
6 United States. Right. So, I think we often forget this
7 trend. We get really fixated on how quickly we are
8 growing with solar, the truth is natural gas still
9 there.

10 And that is not the problem, the problem is the
11 consequences of natural gas is emissions, right,
12 emissions are growing.

13 Now, let me just bring everything down from the
14 country level to the state level. These are the main
15 numbers for California, right. So, we have, as I said,
16 motives to celebrate in California. But it's still
17 90,000 gigawatts of power, gigawatt hours of electricity
18 generated in California. It represents almost 50
19 percent, 46 percent of the energy consumed in California
20 comes from natural gas. And that, as I said, is just
21 fact.

22 That represents 40 million tons of CO2 a year,
23 and that is the big problem. If want, if we keep to
24 grow natural gas our challenge is not natural gas
25 growth, it's emission growth.

1 Now, the graph on the right, I want to make
2 emphasis on that because we got to go a step deeper to
3 realize why is natural gas growing. So, we see aging
4 capacities retiring. That is the red line. You see
5 aging capacity disappear in California. But that is
6 being substituted with new combined cycle capacity in
7 green. And most important of all, yellow capacity,
8 which is peaking capacity, which is also growing in
9 California.

10 Now, let's be true to the facts. And as I said,
11 happy to be in California and we have motives to
12 celebrate. Natural gas will grow next year by 1.5
13 gigawatts. Renewable energy will grow by 2.7 gigawatts.
14 So, as I said, California is stark different to the rest
15 of the country, but we are still connected to the rest
16 of the country. And you buy technology at a global
17 scale, not a local scale. So, if we want to lead, we
18 have to make sure that we target the source of the
19 issue.

20 So, the issue is back to the question that the
21 Commissioner asked at the end of the last panel is the
22 value of flexibility. And that is where natural gas
23 comes in.

24 We have seen, for example, in natural gas, too,
25 that the state's most (indiscernible) -- have improved

1 substantially. We have gone from a heat rate of about
2 8,000 all the way to 7,000.

3 And now, I want to make an emphasis on a fact,
4 which is there's 200 miles of natural gas capacity in
5 the state. And that can play a crucial as hydrogen, if
6 the hydrogen economy comes in, that can play a key in
7 actually enabling long-term energy storage. Those 200
8 miles are already paid for infrastructure.

9 Now, one of the questions that I was asked, when
10 I was preparing this presentation was, well, tell us
11 about the cost trends and what are the barriers to entry
12 to new, better technology? This is actually one of
13 those challenges in a nutshell is we are going to an
14 electricity market. Right. As we bring more solar and
15 wind, that doesn't impact only natural gas, that impacts
16 everybody. If your price goes negative, everybody
17 hurts.

18 So, we need to figure out a way in which, first,
19 those prices don't go negative and that we incentivize
20 the right technology to come into the grid. The right-
21 hand side curve is the CAISO 2017, I believe. The LNP
22 average for the CAISO region over an entire year. And
23 we need to, indeed, make natural gas more expensive to
24 incentivize the production of it and the investment in
25 R&D for different, flexible type of capacity.

1 Now, going back to these two points, right. We
2 need a technology that is indeed the first and the
3 second one, which is cost effective and reliable. But
4 again, we need to align with the goals as set forth by
5 the SB100.

6 I want to make an emphasis here, specifically in
7 the improved air quality. Many of the policies and I
8 believe (indiscernible) we are very opposed to the
9 offset of greenhouse gases. One of the reasons is when
10 you offset greenhouse gases from combustion, you're
11 offsetting greenhouse gases when you buy solar or
12 procure solar power in Florida. But you're not
13 offsetting the air quality challenges of combustion in
14 the state. So, you can buy many greenhouse gas credits
15 in Florida, but you're still polluting the air in
16 California.

17 And that's something I think SB100 should look
18 at in motivating companies that use combustion as their
19 main energy conversation to actually improving their
20 activities.

21 So, in a nutshell, the first five topics are
22 what we see as a challenge from my company's standpoint.
23 And what we see as a solution, and many in this room may
24 see as a solution, is renewable energy plus storage.

25 I think the first guest, in the first panel

1 mentioned that solar alone won't be able to do it, and
2 storage alone needs to make money. Well, we see this
3 clean flexible capacity in the middle as part of the
4 equation.

5 Really, briefly, talk about what we do Noble
6 Thermodynamics. So, we are going after natural gas
7 capacity. And from a technology standpoint, we are not
8 going after the type of fuel, we're going after the type
9 of technology. We know that gas turbines and internal
10 combustion engines are really reliable and have been the
11 workhorse of the economy for a very long time. Are we
12 able to turn those machines into tools for the
13 transition for a clean renewable energy future?

14 So, that's, in a nutshell what we have done.
15 So, we are taking engines of this size and gas turbines,
16 and we can retrofit them in a way that we merge the best
17 of the flexible capacity with the efficiency of the base
18 load to provide a tool that actually the penetration of
19 more solar and more wind by providing them flexibility,
20 at a high efficiency that ensures that it's competitive
21 in the market without the cost increase to ratepayers.

22 And a key concept, and go back to the 200 miles
23 in California, we are going after hydrogen. If we can
24 change all these machines that are installed in the
25 United States into technologies that enable an energy

1 storage, long-term energy storage framework, now we're
2 talking we have a lot of signed costs already, a lot of
3 infrastructure that can be enable of long-term energy
4 storage and, ultimately, 100 percent renewable future.

5 So, hydrogen is key. We are going after
6 hydrogen. We believe all these machines can be
7 retrofitted to turn into a hydrogen conversion system,
8 and that's what we're after.

9 This is a nutshell where we are. We are
10 developing this technology at UC Berkeley. We are not
11 the only ones. There are several other technologies
12 working on concepts. We have others coming out of
13 Texas, others coming out of New York, working on
14 technologies that are very similar. It's looking at
15 making carbon capture in the short term and long term
16 going after hydrogen.

17 And I mention this for a specific case. We
18 don't want to be lifeline for natural gas. But again,
19 we don't want to deny the truth that natural gas is
20 still there. Now, we are still emitting a lot of
21 greenhouse gases. So, how can we turn all this natural
22 gas capacity today into something that is cleaner?
23 Because we believe that the market will take care of
24 natural case.

25 As solar, as more solar comes in prices go down,

1 natural gas will remain not cost effective. But today,
2 we need to prevent the locking of more greenhouse gases.
3 Can we retrofit natural gas capacity to capture CO2?
4 When you put that as part of the equation, completely
5 new engineering comes into place. We use carbon capture
6 actually to me all system more efficient. As opposed to
7 be a penalty and inactive thought, we managed to
8 incorporate a carbon capture process into our combustion
9 and conversion efficiency process to actually get high
10 performance.

11 And that's something that I think many more
12 technologies are doing. And I think funding to develop
13 these technologies is necessary.

14 Now, thank you very much.

15 (Applause)

16 MR. STEINBUCK: Thanks very much, Miguel.

17 Our next speaker is Jessica Lovering. Despite
18 what her name card says, she's actual a doctoral
19 researcher at Carnegie Mellon, and a Fellow with the
20 Energy for Growth Hub. And she'll be speaking on
21 emerging nuclear.

22 MS. LOVERING: All right. Thank you for having
23 me. And I was really struck on the past panel, what Tim
24 Latimer was saying about geothermal, how many
25 similarities there are to nuclear. So, I'll touch on

1 some of that. Nuclear's both an old and a new
2 technology, and I'll be focusing more on the new side.

3 So, I'm sure most of you are familiar somewhat
4 with conventional nuclear power. California is closing
5 our last nuclear power plant around 2025. That's Diablo
6 Canyon Nuclear Power Plant south of here. And right
7 now, Diablo Canyon provides 9 percent of the state's
8 electricity and 18 percent of its low carbon
9 electricity. So, that's a big thing. It's the biggest
10 power plant in the state.

11 But what I'm going to be focusing on today is
12 new nuclear technologies or we often refer to as
13 advanced nuclear technologies, and the unique benefits
14 that they can provide for deep decarbonization and our
15 energy transition.

16 Okay. So, what do we mean by emerging nuclear
17 technologies? There's a very big range of technologies
18 that are included under there and I'm not going to go
19 into technological details. But there's many different
20 designs. Maybe you've heard of some things like
21 thorium, molten salt, there's fusion in there.

22 And there's over 50 companies in the U.S.
23 working to commercialize advanced nuclear reactors. But
24 just in general, to paint some broad strokes, advanced
25 nuclear designs tend to be much smaller than

1 conventional nuclear, by an order of magnitude. They
2 tend to be factory produced or aiming to do factory
3 fabrication.

4 A lot of them don't use -- actually, most of
5 them don't use water as a coolant. Some of them don't
6 use water at all, in the steam turbine -- or, if they
7 don't use steam turbines.

8 And then, there's also some that are looking at
9 floating or offshore designs. So, very different
10 technology in a lot of ways from existing nuclear.

11 And I wanted to highlight two technologies
12 specifically, or two companies that I think are closest
13 to commercialization and might be relevant for the
14 California context. So, those are -- the first one is
15 Oklo, which is actually based in Mountain View. And
16 they 're doing something very different. They are
17 making a very tiny micro reactor, so 1 to 2 megawatts.
18 And they're aiming at off-grid markets and to displace
19 diesel generation.

20 And this reactor is small, not just in capacity,
21 but also in physical size. So, it fits in one or two
22 shipping containers delivered to site and it's factory
23 produced.

24 And then, the other one, which maybe you've
25 heard of, is NuScale Power. And that is a bigger

1 reactor, it's 60 megawatts. But they're looking to
2 deploy it not on its own, but in 6-packs or 12-packs.
3 So, when you add those together, you can see the sort of
4 individual models in the 6-pack. That adds up to a
5 power plant that's sort of 350, 720 megawatts. So,
6 that's looking more of a size of a, you know, coal plant
7 or a gas plant. So, that's looking more of competing on
8 grid scale electricity.

9 Oklo is submitting their design to the Nuclear
10 Regulatory Commission this year. Whereas NuScale is
11 closer to commercialization. They submitted their
12 design in 2016. They're looking to get their license
13 next year. And their first project is going to be
14 providing electricity to a group of municipal utilities
15 in Northern Utah. So, that's very different, again,
16 than traditional investor owned utilities operating
17 nuclear power plants.

18 So, just some broad strokes, again, on why
19 nuclear matters for deep decarbonization. So, there's
20 obviously zero emissions when operating, both greenhouse
21 gases and traditional criteria air pollutants. And
22 also, very low lifecycle emissions, similar to that of
23 wind or solar panels.

24 New designs and emerging nuclear technologies
25 have significantly less water consumption and some of

1 them have no water consumption, which could be really
2 interesting in opening up new markets.

3 Nuclear, existing nuclear can ramp and load
4 follow. It doesn't for economic reasons, typically in
5 the U.S. But current designs can ramp at about 5
6 percent of capacity per minute. New designs could be
7 even better, particularly high temperature gas-cooled
8 reactors can ramp fairly well.

9 And some unique features of nuclear that I think
10 have come up a few times and sort of the demand that we
11 might have for them. Nuclear can provide things like
12 frequency regulation, operating reserves, black start
13 capabilities, as well as that load following and ramping
14 capability. So, those are some attributes that can be
15 hard to get in a low carbon system, and so it might be
16 worth considering keeping nuclear on the table for some
17 of those attributes.

18 So, potential market. As I said, Diablo
19 Canyon's closing. It's 20 percent of our low carbon
20 electricity. Maybe we want to do something to keep it
21 open. But ignoring that for now, it's pretty wide open.
22 there aren't really plans, concrete plans for new
23 nuclear power in California. But I think there is a big
24 market for it, if we're moving towards 100 percent low
25 carbon electricity.

1 So, I just did a quick back-of-the-envelope
2 calculation, so sort of business as usual projected that
3 in 2045 California will need about 420 terawatt hours of
4 electricity. Now, 60 percent of that has to come from
5 renewables, but the other 40 percent could be from low
6 carbon sources. So, if that was done entirely with
7 nuclear, I'm not saying it should be, but if it was it
8 would be about ten Diablo Canyons. So, that's a lot.
9 That would be about 200 gigawatts. Is that right? No,
10 20 gigawatts. So, you know, that's a lot of nuclear and
11 particularly if it was done with smaller designs.

12 But I did put two pictures up here that I wanted
13 to highlight. So, this is a natural gas plant in
14 California. I can't remember which one. And this is an
15 oil refinery. And I think there's a particularly
16 interesting market for nuclear to go at brownfield
17 sites. So, where we have existing power plants that
18 we're looking to close before 2045, because they burn
19 natural gas, they burn coal, they're not economic with
20 CCS, since there's already a lot of infrastructure
21 there, particularly transmission lines, this could be a
22 good place to build a nuclear power plant. And because
23 nuclear has such a small footprint, it could fit into
24 one of these sites.

25 And the other one is oil and gas -- or, oil

1 refining, nuclear, because it makes a lot of heat can be
2 really good for industrial applications, industrial
3 processes. So, outside of the power sector, there's a
4 lot of uses for advanced nuclear. Industrial processes,
5 as I said, desalinization -- desalination, hydrogen
6 production, things like that. So, it can go beyond the
7 power sector.

8 And there aren't -- again, there aren't a lot of
9 options for decarbonizing heavy industry, so that's
10 something where nuclear has a unique role to play.

11 Okay, cost trends. It's pretty difficult to
12 predict what these new nuclear technologies will cost,
13 particularly as we deploy a lot of them. Because, we
14 never really built nuclear in this way. Nuclear has
15 traditionally been stick built, large infrastructure
16 projects. If you want to read more about that, I wrote
17 a paper in 2016 that looked at historical construction
18 costs of nuclear. They're not good, got very expensive.

19 The goal and the reason that so many companies
20 are focused on factory fabrication is that we would see
21 learning curves over time, like we've seen with wind
22 turbines, and solar panels, and natural gas turbines.

23 So, what I'm showing here with this graph is
24 some simple projections of projected learning curves for
25 different size nuclear reactors. So, what I'm showing

1 is if you were going to build a 1 gigawatt of nuclear
2 power, depending on what size reactor you build what
3 would the learning curve look like? So, if you built a
4 typical, conventional nuclear reactor, which is 1
5 gigawatt, you'd only build one of them. And right now,
6 the cost of that, like the AP1000 that is under
7 construction in Georgia, about \$5,500 per kilowatt. So,
8 that's expensive. The electricity is still cheap over
9 time, but that's a very big cost burden for a utility to
10 bear.

11 Now, if you look at building a 60 megawatt
12 reactor, that's like that new scale reactor that I
13 showed, they are predicting what their first of a kind
14 cost will be, they're looking at similar costs for their
15 first one. But because you're building a lot more of
16 them to get to 1 gigawatt, a few hundred, then your
17 costs come down a lot faster. And then, it's much more
18 extreme when you start to look at the 2 megawatt
19 reactor. They are expected to start out more expensive
20 because that's just a very different technology that we
21 haven't built, nuclear so small before. So, even if
22 they start at twice the cost, \$11,000 per kilowatt,
23 which is quite expensive, because just to even get to
24 100 megawatts you're building 50 of those, you see
25 really significant learning.

1 And the learning rates that I'm learning from
2 these are rates that we see from natural gas turbines or
3 wind turbines. So, you see a lot of learning because
4 you're building so many repeats of that unit.

5 So, we don't know. It's going to be a lot of
6 risk reduction when we see the first commercial
7 demonstrations are getting built in the next four to
8 five years, and then we'll have a lot more certainty.

9 But this is something just to keep in mind
10 because California's decarbonization is a longer term
11 effort. It's not going to be done in five years. So,
12 keeping this on the table for the 2030 timeline could
13 definitely be an important option.

14 And even if costs decline significantly, an
15 additional challenge of nuclear is just how the cost is
16 structured. And this is very similar to geothermal.
17 So, what I'm showing here is the levelized cost of
18 nuclear on the bottom, compared with its main
19 competitor, which is combined cycle gas. And I'm
20 breaking it by the type of costs.

21 So, you can see that for nuclear almost all of
22 the cost is fixed cost, so capital cost and fixed O&M.
23 Very small share of that is the fuel.

24 For natural gas, over 50 percent of the cost is
25 variable or marginal cost, both variable O&M and the

1 fuel.

2 So, what's happening and you're seeing this for
3 existing nuclear in the U.S., is that when the wholesale
4 price of power drops, if it drops even to zero or below
5 zero, nuclear can't shut down and save on money, so they
6 just tend to operate at a loss. So, even their
7 electricity is really cheap in the long run, it can be
8 very hard for them to work in competitive markets. And
9 that's something that needs to be fixed for existing
10 nuclear to stay around and for new nuclear to be
11 competitive in merchant markets.

12 So, major changes for nuclear, there's a lot.
13 That's why we're not really seeing a lot of focus on it
14 in California. The big one is cost and particularly
15 financing. Now, that could be a lot easier when you're
16 getting to much smaller designs to be private and
17 project financing.

18 One of the big problems for nuclear is that
19 historically it hasn't been valued as low carbon. It's
20 basically just competing with fossil fuels. California
21 actually has a ban on new nuclear, so that is a big
22 obstacle. But it's not as complicated as an obstacle
23 as, say, market reform. It's just a piece of
24 legislation.

25 And also, lack of regulatory models for private

1 and industrial owners or operators. So, when you start
2 to think of commercial users or industrial users wanting
3 to buy their own small nuclear reactor, we haven't -- we
4 need to see sort of more innovation in those business
5 models the way we have for renewables.

6 And just some really broad strokes for policy
7 recommendations. Remove the ban. That's an obviously
8 important one. But also, more technology neutral
9 incentives for low carbon energy. So, clean energy
10 standards, a lot of states are looking at those.

11 State supported loans or loan guarantees, tax
12 credits. Investment tax credit would be huge for these
13 first couple commercial plants in California.

14 Also, developing a pilot program for industrial
15 or commercial ownership. There's been a lot of
16 legislation at the federal level in the last few years
17 to support advanced nuclear, looking at deploying micro
18 reactors at Department of Defense installations, or
19 national labs. In California, you could see something
20 similar, maybe with our public universities owning and
21 operating a micro reactor, or some of the national labs
22 we have in the state.

23 Streamlining approval for nuclear reactors at
24 brownfield sites. And then, I think there could be a
25 lot more work looking at studying how nuclear renewable

1 hybrid systems could be done. So, how nuclear can work
2 with renewables to balance and provide a more reliable
3 and resilient system.

4 And then, just one closing fact that I wanted to
5 share with you. So, SB100 is aimed at reducing
6 greenhouse gas emissions, but there's a lot of other
7 impacts, environmental impacts from the energy system.
8 And one of them that we don't talk about a lot is land
9 use intensity of energy.

10 So, what I'm showing here is two different power
11 plants in California, on the same map scale. So, the
12 one on the left is the Ivanpah Concentrating Solar Power
13 Plant, and on the right is Diablo Canyon. And you can
14 see the outline of Ivanpah is these big squares here.
15 And that generates 0.7 terawatt hours annually. Whereas
16 Diablo Canyon, which is this little bit there, generates
17 about 18 terawatt hours annually.

18 So, if we're looking at a huge build out of
19 renewable energy, this doesn't just take a lot of land,
20 but also a lot more transmission lines, which are also
21 big land issues.

22 And so, just thinking about the challenges that
23 will bring and what the tradeoffs are in terms of land
24 versus greenhouse gas emissions going forward. Thank
25 you.

1 (Applause)

2 MR. STEINBUCK: Thank you, Jessica.

3 Our next speaker is Alex Morris, who will be
4 speaking on energy storage. And he's the Executive
5 Director of the California Energy Storage Alliance.

6 MR. MORRIS: Well, hi, everyone. My name's Alex
7 Morris. I'm with the California Energy Storage
8 Alliance. So, thank you for having me and look forward
9 to talking a bit about the state of energy storage and
10 where we're heading and what's going on.

11 I've heard storage come up quite a bit today, so
12 I'm happy to help, you know, share some perspectives we
13 see from interfacing with our members who are, you know,
14 many of the companies actively developing storage.

15 I wanted to also say that I think a lot of the
16 discussion today has been really useful and interesting.
17 I think a key challenge is how do we get that last bit
18 of decarbonization, what's the right strategy.

19 So, part of storage and what we're seeing from
20 the modeling is that we know we're going to need a fair
21 bit of it. And then, I think as we get towards those
22 extreme levels of decarbonization, you know, the problem
23 gets harder and we'll see what roles for storage exists
24 and what types of storage play a role there.

25 So, a little bit about CESA. CESA was founded

1 in 2009. It's the California Energy Storage Alliance.
2 We're an advocacy group whose mission is to make energy
3 storage a mainstream resources in helping advance a more
4 affordable, clean, efficient and reliable power system
5 in California.

6 It was founded by some person named Janice Lin,
7 who's actually sitting next to me. Good job.

8 Here's a snapshot of our 85 members. You know,
9 so this really is a good look of the who's who of energy
10 storage. A lot of these companies are very serious,
11 they're very focused on the California market which is
12 still, really a market just getting started for energy
13 storage, yet is one of the largest markets in the world.

14 So, for all the fanfare, you'll see that,
15 really, relatively small amounts of progress in terms of
16 installed capacity have been made, yet we still are the
17 earth's leader in the storage market. And we'll talk
18 about that.

19 Some of the takeaways I wanted to share is that,
20 you know, it's very clear to us that storage solutions
21 are an essential part of this deep renewable integration
22 vision we have, and this transition away from fossil
23 fuel generation. I use the words fossil fuel generation
24 very carefully because, you know, we're not opposed to
25 all types of generation. We think that's great. And I

1 think the challenge, really, is the decarbonization
2 element. So, you could still have spinning turbines and
3 things like that. It's really just a question of how do
4 you operate those in ways that gets the GHG benefits

5 And the needs for storage in California are
6 quite significant. I'll show you a few numbers that are
7 from some of the recent planning studies that will --
8 you know, for folks in the storage world are quite eye
9 popping.

10 And then, I think California recognizing the big
11 roles we expect for storage, there's some obvious
12 recommendations which is we should really keep our
13 momentum. We should explore more diversity in the
14 storage sector. We certainly should look into building
15 longer duration storage. And I think you heard that
16 come up a lot in the modeling discussion earlier.

17 I think we can look at how storage fits with the
18 resiliency challenge, which is obviously quite
19 compelling, and storage can certainly play an immediate
20 role there.

21 And then, we want to actualize what we call
22 MUAs, which are multi-use applications. So, ways for
23 storage, particularly behind the meter, to do double
24 duty and help the electric grid.

25 So, storage is essential for meeting the grid

1 needs. So, you can't even see it, but the CAISO has
2 recently shared how much newly operating storage they
3 have, and it's about 150 megawatts. So, on this chart
4 on the left, it's actually the left column, and it's not
5 even visible. So, there's a teeny amount. Yet, this is
6 -- California represents, you know, basically the
7 biggest storage market in the world.

8 And just a recent decision on the Integrated
9 Resources Plan directs by 2023 that we add another, you
10 know, over 3,000 megawatts. So, you start to see the
11 increase over 150 megawatts today to 3,000.

12 And then, by 2025, the Integrated Resources Plan
13 reference plan highlights, you know, north of 42,000
14 megawatts. So, the growth trajectory for storage over
15 the next 20 years is, you know, very extreme. And this
16 is what causes us to recommend we really want to make
17 sure our toolkit is ready, and we want to be really
18 focusing aggressively on readying ourselves to have the
19 industry positioned and capitalized to move forward and
20 deploy storage.

21 Another key theme, though, is also the CAISO's
22 illustration of resource needs on the right shows how,
23 you know, the four-hour duration, which has been the
24 standard storage duration in California, has worked
25 sufficiently. But once you have some penetration of

1 those four-hour resources, you may want to shift to a
2 longer duration resource to help absorb the belly of the
3 duck, as they say, and offset the peak.

4 So, you know, you'll see that come through in
5 our recommendations. And we're very actively looking at
6 how the studies quantify and value long duration
7 storage, and exploring the extent to which we may be
8 underestimating the needs of long duration storage,
9 which we're pretty convinced is happening.

10 So, many of you know there's a lot of different
11 types of storage. CESA has the benefit of not picking
12 any one. We represent all types of storage, whether
13 it's hydrogen, EVs, or lithium ion batteries. You know,
14 we have compressed air, flow batteries, and all the
15 flywheels, you know, gravitational cranes and trains.

16 So, you know, our job is to help create markets
17 and provide the right signals and then let the storage
18 companies compete.

19 And we appreciate the role of the Energy
20 Commission, by the way, in helping incubate the newest
21 technologies through their grant funding programs.

22 So, one thing I think, though, is the toolkit is
23 certainly going to build, you know, really express
24 itself in the next ten years. It's being built out.
25 Many of you know that lithium has been one of the more

1 successful technologies so far. That's been primarily
2 in this four-hour operating structure. And so, we want
3 to make sure that the toolkit is being built to meet the
4 grid's needs, which we can roughly foresee as
5 reliability, renewable shifting, what I call local or
6 long hold storage. And I think this came up, which is
7 that there's parts of the grid where you do need
8 extended generation capabilities. And there's a whole
9 arsenal of storage technology spooling up to provide
10 that service.

11 We want flexibility, resiliency, customer
12 services, and then also hybridization. And so, more and
13 more we're seeing storage packaged with solar, wind or
14 gas plants to improve operating characteristics, and
15 improve the value of the resource and, really, leverage
16 a single interconnection. So, a lot of benefits
17 happening with storage.

18 A question that's come up recently is with this
19 150 megawatts of storage, you know, what's it doing?
20 How's it operating? And so, here's a quick snapshot
21 from the CAISO's Annual Market Performance Report, from
22 2018.

23 So, again, there's very little storage here and,
24 you know, currently there's about 150 megawatts
25 installed, excluding the pump hydro. So, this is really

1 just the newly installed storage. And keep in mind,
2 also, the CAISO's capacity, it's about a 50,000
3 megawatts. So, this is really just a teeny amount.

4 And what we've seen is that a lot of the storage
5 that's shown up has, you know, this really elite ramping
6 speed. So, it goes after the fast premium product,
7 which is called regulation. And that's really proving
8 out by how it's being bid and scheduled in the CAISO.
9 So, it's going after this high value product.

10 But that market's going to saturate soon. So,
11 that market size is actually quite small. So, the
12 regulation market is roughly 400 to 800 megawatts in
13 size. And so, you know, another way of showing that is
14 out of a \$10.8 billion a year market, regulation is only
15 \$189 million of the revenue.

16 So, we do expect that as storage penetrations
17 increase, and this should happen pretty quickly, the
18 energy arbitrage roles of storage will start to show up
19 more and more. And we also know that the, you know,
20 companies we deal with every day are acutely aware that
21 energy arbitrage is going to be a very important service
22 for the grid. But it also makes sense that if you have
23 storage already, you're going to go after the high value
24 service, like regulation to date.

25 So, really, we see in the future, you know, once

1 -- you know, regulation will always be a premium
2 product. But if there's saturation in that market, the
3 market participants naturally look elsewhere. So,
4 firming renewables, enabling time arbitrage, which is
5 this deep solar shifting which, as we've talked about
6 can be daily, it can be multi-day, it can even be
7 seasonal storage. And, you know, we have companies
8 focused on the seasonal storage, like hydrogen, and
9 these really long hold, inexpensive batteries.

10 We think you can improve the operational
11 characteristics of existing or new gen by adding
12 storage. And what we're seeing from them is that a lot
13 of these applications are -- they're ready to go today.
14 Some of them need long lead times, so they really want
15 contracts earlier. But generally, I think if you hold a
16 solicitation you can pretty quickly get really
17 competitive pricing that shows the cutting edge
18 frontiers of where storage is at.

19 And we expect that, you know, while California
20 does have markets to integrate and operate storage, and
21 monetize it, we'll still see those markets evolve. The
22 best example of that is that our whole market pricing
23 system is based around, basically a natural gas, where
24 you have a fuel cost. And as we modify away from that
25 and we go to renewables, where your fuel costs are, you

1 know, much less -- are very different I would say, you
2 have a market that may be shifting more towards
3 renewables and storage. And you have to have that
4 thought exercise of what's the right pricing structure
5 for that. And that will be an issue we wrestle with,
6 certainly.

7 And here's, obviously, a snapshot of how storage
8 can help with gobbling up the belly of the duck,
9 modifying demand. So, reducing -- absorbing solar
10 during the day or charging at night to ease the ramping
11 needs, and then offsetting the peak in the afternoon.

12 And then, here's just a -- you know, sometimes
13 people wonder what are the long duration storage
14 solutions? Certainly, batteries can be stacked and
15 racked to do long duration. But you'll also see a whole
16 fleet of companies coming along to compete here. We
17 have hydrogen flow batteries. We have reservoir, you
18 know, pump hydro. And then we have, you know, different
19 sizes of modular reservoirs and cryogenic freezing
20 water, freezing air. So, there's a lot of great
21 opportunities here and all these companies do want to
22 show up and compete in California. I think their
23 membership in CESA is usually indicative that they're
24 trying hard to understand the California market.

25 So, I think it's a good signal that these

1 companies are showing up and ready to go.

2 And so, just to wrap up, and thanks again for
3 allowing me to speak, our recommendations are, you know,
4 plan what I've called the essentialness of energy
5 storage. So, plan for it. Continue building our
6 toolkit. Grow and mature our industry sectors. You
7 know, at CESA we look to make sure the whole -- all the
8 sectors are growing, behind the meter, in front of the
9 meter, long duration, short duration. So, we want to
10 make sure that we're growing the segments that will be
11 needed by the grid.

12 And then, unleash and properly value storage
13 through RPS rules, hybrids, MUAs, resiliency, fast
14 flexibility.

15 And then, with respect to the long lead time
16 resources, like pump hydro, it seems silly to not allow
17 competition. Like, that's fundamentally not useful for
18 ratepayers. So, one thing we see is that some resources
19 are categorically prohibited from competing in storage
20 solicitations and we think that's counterproductive.
21 So, we'd like to solve that.

22 And another way to get competition is to do long
23 look ahead solicitations that help these companies at
24 least show up and compete, and give decision makers a
25 chance to know what's the most economic outcome.

1 So, those are some of the things we're focused
2 on regulatory wise. And I welcome questions as they
3 come. And thanks again for my remarks.

4 (Applause)

5 MR. STEINBUCK: Thanks very much, Alex.

6 Our next speaker is Janice Lin. She's continued
7 her founding ways. So, after founding Storage Alliance,
8 she has most recently founded the Green Hydrogen
9 Council, and she's also the CEO and founder of
10 Strategen.

11 MS. LIN: Thank you, really appreciate being
12 invited to join you all today, so thank you,
13 Commissioner McAllister and Chair Hochschild.

14 So, I'm here to talk about green hydrogen. As
15 the former Executive Director of CESA, it's really
16 exciting to be here on a panel with Alex.

17 I'll start by just explaining how I got
18 interested in green hydrogen. And it started with an
19 analysis that we did in 2016 that asked the simple
20 question of what would the duck chart look like under a
21 100 percent renewable scenario for the State of
22 California?

23 So, we took the CAISO OASIS data from 2016, and
24 amped up the renewable production so that 100 percent of
25 the production was renewable, and it exactly equaled

1 demand, and then plotted it over the course of a year.
2 Some of this information was presented earlier, I think
3 by James, from LADWP. But it becomes very obvious when
4 you plot this out that we will have multi-day shortage
5 events, even during the spring and summer, and we will
6 have a surplus in the summer and not enough in the
7 winter and autumn.

8 So, this begs the solution for a multi-day and
9 seasonal solution. So, this was in 2016 we embarked on
10 a study. Since then, as you've heard, CESA has amended
11 its definition of storage to also include hydrogen
12 storage, among one of quite a few different solutions
13 that are possible.

14 And in the course of looking at hydrogen, I
15 learned a lot about this amazing flexible resource, and
16 I'll explain a little bit more about the GHG and why I'm
17 now personally working on this.

18 But first, let me start with the kind of key
19 takeaways for today. And first and foremost, I believe
20 that green hydrogen is part of the solution and
21 essential to meeting SB100 goals. Momentum is happening
22 on green hydrogen all around the world today.

23 And, secondly, another thing I learned is that
24 hydrogen is already a commodity that's used in so many
25 industries, like to the tune of 70 million metric tons

1 per year globally. And 99.9 percent of it is made from
2 fossil fuels, oil, gas, and coal. And that it is
3 possible to make it from renewable sources, which is
4 what we're calling green hydrogen. And I'll define that
5 in a sec.

6 And green hydrogen can help us overcome many
7 challenges. One, we can integrate more renewables.
8 It's a great solution for doing something with all that
9 curtailed renewable energy.

10 Secondly, it's as an amazing vector solution
11 that can go into many, many sectors. It has the
12 potential to decarbonize some really hard to abate
13 sectors. Industrial applications, like steel making,
14 chemicals, shipping, medium and heavy duty trucking as a
15 replacement for diesel fuel, for example. And because
16 you can make this stuff pretty much wherever, it's a way
17 to enhance energy security.

18 And when I studied hydrogen further and the
19 challenges for green hydrogen, it became clear that
20 there aren't really significant technology barriers
21 because there's lot of ways to make it. Really, the
22 challenges that this amazing vector resource faces is
23 one of market design. How do you achieve scale and cost
24 reduction through scale economies? How do you get
25 compensated for all the benefits provided? It can be an

1 amazing multi-use asset, just like we've been talking
2 about energy storage for years.

3 And then, finally, how do we make sure we
4 consider green hydrogen as part of our planning toolkit?

5 Finally, the other thing I'm hoping to share
6 with all of you and get you excited about is that there
7 are multi-sectoral opportunities to address these
8 challenges today. In other words, by zooming out and
9 looking at the potential for applying some of the
10 lessons learned, we frankly learned in hydrogen and
11 other sectors, and finding ways to build large projects
12 at scale, I think we can overcome some of these
13 challenges.

14 However, progress will require multi-
15 jurisdictional focus, which is a great platform for
16 SB100. I borrowed a couple of slides from the IEA,
17 basically showing that like, hey, this is production
18 today. Globally, I said it's about 70 million metric
19 tons. A lot of GHG emissions. That's the middle
20 column. Because it's made from coal, gas and oil.

21 And the reason for this is because it's the
22 cheapest way to do it today. However, this green bar
23 shows the cost range of making hydrogen from renewables.
24 And what's interesting is the lower end of that bar is
25 getting awfully close to the ways we make it through

1 fossil energy. I'm going to discuss, and specifically,
2 a couple of examples in a little bit.

3 So, what do we mean by green hydrogen?
4 Generally, there's the eligible renewable, as we
5 classify renewable resources here in California, through
6 organic conversation, power to gas through electrolysis,
7 and also zero-carbon sources. So, using hydro,
8 curtailed renewable energy, maybe nuclear, a bunch of
9 different ways that have been mentioned today.

10 The idea is if we can make green hydrogen or
11 zero-carbon hydrogen cost competitive with all those
12 fossil sources, then we have the potential to
13 decarbonize all the sectors that that fossil stuff is,
14 you know, being used for today. So, that's both as an
15 energy resource, as well as a feedstock. And, of
16 course, it's a great multi-day and seasonal storage
17 resource.

18 So, we're going to talk about a couple of
19 examples. I do want to cover just a couple of slides to
20 give you a flavor, just a little taste for how much
21 progress is happening around the world.

22 So, here's an example of Australia's view on
23 green hydrogen. They call it their next great export.
24 Australia's been famous for exporting coal. Well, guess
25 what, their future is about exporting renewable energy

1 in the form of hydrogen. They're going to use
2 electrolysis and make it with wind and solar. Then,
3 they're going to either use it as a fuel locally, or
4 convert it into ammonia, or synthetic natural gas, and
5 export it to Japan and Korea.

6 It should be noted that Korea has a roadmap, New
7 Zealand has a roadmap. Many, many countries around the
8 world already have a hydrogen roadmap. And, in fact,
9 South Korea has targets that 10 percent of their cities
10 by 2030 will be hydrogen based. I think 30 percent by
11 2040. And last week they announced they're going to
12 convert three cities to all hydrogen for heating,
13 cooling, transportation, and electricity production.

14 So, in October we decided to launch a new
15 initiative, called the Green Hydrogen Council. We
16 launched it with a meeting in Sacramento, with GO-Biz.
17 And the mission of the GHC is to advance the use of
18 green hydrogen to accelerate the transition to a carbon
19 free energy supply.

20 Now, we are looking at hydrogen as a means for
21 multi-day and bulk storage in a supportive way to CESA.
22 The focus of the GHC is to look across sectors and find
23 ways to accelerate the deployment of large projects at
24 scale, leveraging opportunities to both scale supply and
25 demand concurrently. So, more of a project orientation.

1 Consistent with our mission, at this meeting in
2 October we focused on two specific projects, which I'm
3 going to briefly share with you. Now, these are not the
4 end all, be all. They're, rather, examples of what is
5 possible.

6 Earlier, Miguel talked about using hydrogen in a
7 blend with natural gas as a fuel. And, in fact, there
8 is a large coal plant sited in Delta, Utah, owned by my
9 good friends in Los Angeles, as well as a number of
10 other Southern California Municipal Utilities. This is
11 Intermountain Power Project. It's a 1,200 megawatt coal
12 plant that's getting converted to an 840 megawatt
13 combined cycle.

14 What's really exciting about this project is
15 that on day one, in 2025, it's anticipated that this
16 plant can burn up to 30 percent of renewable green
17 hydrogen on day one. That will dramatically impact its
18 GHG footprint. That renewable green hydrogen can be
19 made from abundant wind and solar in the area. They've
20 got a number of resources and transmission capacity.

21 One of the interesting things about this plant
22 is it can take advantage of rapidly falling costs on
23 electrolyzers. This is a cost forecast from Bloomberg
24 New Energy. The green line shows the cost reductions
25 that are happening for electrolyzers from the rest of

1 the world, and the red line is China. I'm told that
2 actual bids for electrolyzer equipment are coming in at
3 the low end of this cost forecast.

4 And as Alex mentioned earlier that hydrogen is
5 potentially a really great source of really large-scale
6 storage, both for multi-day and seasonal. One of the
7 beauties of the Intermountain Power Project is it sits
8 on top of the world's -- the Western United States'
9 largest salt formation, which happens to be a convenient
10 place to store compressed hydrogen. These are purpose
11 built caverns. One cavern can store about 100,000
12 megawatt hours. That's equivalent to 200,000 hydrogen
13 buses. And this particular salt field has the potential
14 for 100 caverns. That's in Utah. That's a lot of
15 multi-day and seasonal storage. Each cavern, you can
16 see, is about the size of the Empire State Building.

17 According to Blumberg, the Energy Finance Salt
18 Caverns are one of the lowest cost ways to store
19 hydrogen. I say one of because, as mentioned earlier,
20 the natural gas pipeline is another really low cost
21 storage facility since it's already built.

22 And so, what would be the impact on emissions?
23 So, this is just Intermountain Power Project. The
24 legend on the Y-axis is missing an M. It's million tons
25 per year. The red line, going to red dashes is the

1 emissions as a coal plant. And then, starting in 2025,
2 the emissions drop significantly when it gets converted
3 to a gas plant. And the blend, the hydrogen, the
4 emissions drop again to zero, that's the green line at
5 the bottom, if it's the percentage of hydrogen is
6 increased from 30 percent to 100 percent over time.

7 Of course, this would require building lots and
8 lots of renewable generation in that area. So, that's
9 project one.

10 Project two, just to give you another flavor for
11 another way that green hydrogen is made, and the
12 gentleman who presented earlier on biomass touched on a
13 lot of this, so I'll go really quickly.

14 But this is one of those high temperature,
15 thermal conversation pyrolysis projects, called the
16 Carbon Negative Energy Project from Clean Energy
17 Systems. Again, this is just an example. There are
18 other providers that can do this.

19 This is an interesting project because it was
20 one of the original CEC grant awardees early on. Now,
21 what's interesting about their first projects, in
22 Bakersfield, California, is Bakersfield ranks among the
23 top three most polluted cities in the country for ozone
24 particle pollution and short term particle pollution.

25 How does this work? That woody biomass, I think

1 it was mentioned earlier that almond farmers have a lot
2 of dead trees. Those trees can be gasified. The gas is
3 then separated into hydrogen to an off taker, and the
4 remaining gas is combusted locally. And the CO2 that
5 comes out of it can be sequestered. That's why it's
6 carbon negative.

7 The economics work because they have a long term
8 off taker. Coincidentally, it's an oil refinery.
9 Again, an example of a multi-sectoral opportunity. The
10 oil refinery's buying the hydrogen at avoided cost, plus
11 there's a federal tax credit and California's Low Carbon
12 Fuel Standard makes up the difference.

13 Interestingly, there are a lot of biomass plants
14 that are idle in the Central Valley. If all of them
15 were converted, they could produce about 425 tons of
16 hydrogen per day. Which, just to give you a
17 perspective, that's equivalent to about 15 percent of
18 California's oil refineries' demand for hydrogen. So,
19 it's significant.

20 And then, finally, I'm wrapping up. I do want
21 to give a shout out for California and its progress on
22 light-duty passenger fuel cell vehicles. We're on track
23 with one of the world's foremost programs. A million
24 fuel cell vehicles by 2030. That will require 700 tons
25 of hydrogen per day.

1 We are also on track meeting our 33 percent
2 mandate, which is really good for renewables in those
3 fuel cell vehicles. And the impacts are huge. And this
4 assumes only the 33 percent renewable. What if we did
5 all renewable for these passenger vehicles?

6 And then, finally, I do want to let folks know
7 that there are other off takers that are possible. And
8 these potential off takers for green hydrogen and
9 shipping, trucking, as industrial heat also have a huge
10 GHG impact.

11 So, finally, I'll just wrap up with the
12 preliminary list of barriers. I feel like we are where
13 we are in green hydrogen as we were in energy storage
14 broadly in 2010. And that is, first, to start by
15 understanding the use cases. What are the supply
16 sources? What are the demand sources? How do we
17 prioritize building up projects and scaling it, and
18 finding cost effective value propositions?

19 We need to establish an evaluation and
20 procurement framework for evaluating the cost benefits.
21 It would be really cool if it was integrated into the
22 IRP, for example.

23 We also need to reduce the cost of moving
24 hydrogen from supply sources to demand sources, now.
25 The natural gas pipeline would be a great source.

1 And then, finally, pricing and accounting
2 structures for production. What about a new tariff?
3 What about the WEC accounting? There's complications.
4 So, again, all of those require a multi-jurisdictional
5 focus, but all are achievable today. And those projects
6 I gave you as an example can happen in the next few
7 years. Thank you.

8 (Applause)

9 MR. STEINBUCK: Thanks very much, Janice.

10 Our final speaker today is Mary Ann Piette, who
11 will be speaking on demand flexibility. She's the
12 Senior Scientist and Director of the Building Technology
13 and Urban Systems Division. Also, a Senior Science
14 Advisor to the Associate Lab Director of the Energy
15 Technologies area, LBNL. Thanks.

16 MS. PIETTE: Thanks so much. It's a pleasure to
17 be here and I want to thank Commissioner McAllister and
18 Chairman Hochschild for having me here today, and the
19 California Energy Commission staff that organized
20 today's event.

21 I want to just start by saying California has
22 four decades of great progress on energy efficiency.
23 And I'm speaking on behalf of all the demand side
24 customers in the State of California for our great
25 achievements in energy efficiency. We're moving from a

1 time where our energy efficiency programs have to
2 transition.

3 We've been doing what I call static energy
4 efficiency, so it's no longer sufficient to just look at
5 how much we use, but when we use our electricity. And
6 that is what we mean by demand flexibility.

7 I'm going to talk a little about work that we've
8 done, funded by the Public Utilities Commission, and I
9 have a team of people here who have been involved in
10 that research.

11 So, I'm going to talk a little about the current
12 size of demand response in California, the demand
13 flexibility and DR characteristics, the cost trends, the
14 emerging technology innovation and the future
15 directions.

16 I have four grid services here in the picture.
17 We call this shape, shift, shed, and shimmy. And shape
18 is responding to dynamic prices. That's our TOU and
19 critical peak pricing. So, load shaping from prices.

20 Shift, I'll be talking about mostly because
21 that's what we need more of, and we have very little of
22 today. So, how do we encourage people to change their
23 electric load and shift it from that peak time, around
24 dinnertime, to the middle of the day when the
25 electricity is cleaner.

1 Shed is our traditional DR. And we've been
2 doing that for several decades. I'll talk a little
3 about the status of today's DR. And I'll also talk
4 about what we call shimmy, which is the fast acting DR,
5 which loads can provide that, but we don't need quite as
6 much of it.

7 So, I want to say in our last study, I'll give
8 you some of the numbers, but the shimmy resource is
9 available from loads, variable frequency drives and
10 other types of things. But again, it's not the focus of
11 the 100 percent renewable future.

12 So, this is what our current DR programs look
13 like in California. We've got to have about one and a
14 half gigawatts of several categories. The bar on the
15 left is the reliability DR resource. You can see it's
16 by PG&E and Edison, and San Diego is shown there, too.
17 This is mostly the base interruptible programs, and
18 these are sort of emergency reliability programs that
19 are available from customer loads.

20 Proxy DR takes many forms in the market today.
21 And we have over 200 megawatts of proxy DR. Those are
22 capacity bidding programs that the utilities run.

23 The DR option, or DRAM, is also a third-party
24 auction that is bid into the CAISO programs. And you
25 can see we have over 200 megawatts of DRAM. And then,

1 price-based DR, which is tariff-based critical peak
2 pricing kind of smart rates.

3 These are all shed. So, we are still paying
4 people to reduce their electric load on various
5 triggers. And the triggers can be CAISO prices and
6 CAISO conditions, or temperatures that trigger some of
7 the dynamic pricing.

8 I want to give you just a quick look at some of
9 the things the utilities are doing to try to improve the
10 response to demand response and DR programs. There's a
11 lot of work trying to create incentives to help
12 customers get technology that allows them to participate
13 in automated DR programs.

14 There work on two-way communications and
15 transactive tariffs. Transactive tariffs are very
16 exciting, where you might pay for a certain amount of
17 your load, and only above that bit you've paid down is
18 exposed to the spot market or the real-time market. So,
19 there is a lot of innovation that has to happen around
20 transactive tariffs.

21 Rebates and incentives. So, the utilities are
22 trying to understand how to create incentives for
23 automation.

24 Integrated demand side management. That is the
25 idea where if install a control system for energy

1 efficiency, you also want to acknowledge the controls
2 can provide DR and DF capabilities. So, how can we
3 actually create bundled systems?

4 In the public utilities programs, the EE and the
5 DR programs are siloed and you can't mix them. So,
6 that's been a big challenge on the regulatory side.

7 And then, Title 24 requires automated, open
8 demand response technology for many of the commercial
9 building systems. And there's a picture there of
10 something that's called Open ADR that's been in
11 development, funded by the PIER Program at the
12 California Energy Commission. And it's required by most
13 of the utilities for the larger DR activities. And it's
14 used in many of the residential DR programs as well.
15 So, we're working towards trying to create more standard
16 ways to communicate with devices.

17 I'm going to now introduce you to the study
18 we've been doing for a few years here. And this is the
19 Demand Response Potential Study. We've completed phase
20 one and phase two, which was an initial study on much DR
21 is available in California. And that's where we came up
22 with these four services, the shape, shift, shed and
23 shimmy.

24 What we found there was shift has the most value
25 in California because that's what we need because of the

1 duck curve.

2 Shift is worth about a half a billion dollars a
3 year if we could get customer load shapes to be more
4 flexible. I'll go through which customer technologies
5 we've modeled in a moment.

6 But in phase three we're doing a deeper dive on
7 shift and I'll talk a little about which technologies
8 we're modeling. But, essentially, we want to know how
9 big is the resource, when is it available and how do we
10 get more of it. And shift can absorb most of our over
11 generation today.

12 Phase four, which we're going to be starting in
13 the next year, is going to create a new dataset. In
14 2014, we collected 200,000 electric load shapes from
15 throughout the state, with 11 million customer metadata
16 files to create a bottom up characterization of the
17 hourly loads of all customers in the IOU service
18 territories.

19 So, these are the technologies that we're
20 modeling. And I'm going to you about them by phase.
21 So, the white ones there, in bold, are what we included
22 in what was called phase two.

23 And now, in phase three we added
24 electrification. So, we did work on residential air
25 conditioning, residential pool pumps, commercial energy

1 management systems and lighting. A lot of industrial
2 loads. And wastewater. Agricultural pumping. And we
3 had behind-the-meter batteries and we had electric
4 vehicles. So, we're using the CEC's EV forecast. And
5 I'll show you about how we're using batteries as a
6 reference for the future.

7 But we're starting in the future to look at
8 appliances, which are not demand shiftable today because
9 it's hard to get your refrigerator or your washing
10 machine to receive a signal. So, we're working on the
11 technologies to allow customer loads to receive signals
12 and actually automate the time of use response, as well
13 as a DR signal that might happen on a hot summer day.

14 In phase four you can see we're looking at more
15 distributed batteries, plug loads and even, perhaps,
16 different colored changing of different kinds of
17 lighting technologies.

18 It is very important to understand while we were
19 talking about mostly supply and grid scale storage,
20 there's a lot of work on the behind-the-meter storage as
21 well. There's work on thermal diodes in walls that can
22 actually change the heat direction of heat in the walls,
23 as with phase change materials.

24 So, there will continue to be innovation on
25 behind-the-meter customer technology, as well as the

1 grid technologies we've been spending most of the day
2 talking about.

3 So, this next graph shows you on the right a
4 picture of the CO2 per megawatt hour for -- that's the
5 2017 CAISO data and it's seasonal. So, essentially what
6 you want to do is you want to move customers' loads to
7 use more of that midday clean electricity and less
8 electricity around early evening. So, if we can create
9 load shifting in customer loads, then we can actually
10 save about .2 tons per megawatt hour and we can help
11 avoid curtailment. We can help arbitrage to reduce
12 emissions. And we can reduce the evening peak and
13 reduce the need for power plants to come online. So, we
14 really want to flatten that that load shape. Some
15 people say call it a halibut, get the duck to fly.
16 There's all kinds of things we can do to the duck. We
17 want to make the duck skinnier by using customer loads
18 to be part of that technology solution.

19 So, the models that we've developed basically
20 look at 3,000 clusters that represent customer loads by
21 sector, by region, by end use type, and look at the
22 ability of moving load from one time of the day to
23 another.

24 Every technology we modeled in phase two and
25 phase three exist in today's market. These are not new

1 technologies. But I'll talk a little bit later about
2 the things we need to do to encourage greater uptake of
3 these technologies in customers' premises.

4 So, we look at the probability of shift. And
5 I'm going to show you what a supply curve for customer
6 end use shift looks like in a moment. And, essentially,
7 we look at a shift usually once a day, but in some cases
8 we might want a morning shift, as well as an afternoon
9 shift. So, in some cases, there might actually be one
10 and a half shifts a day or two shifts a day. In
11 general, there's at least one.

12 And in 2025, 2020 and beyond there are duck
13 curves every month. And it's very important to note
14 this is a spring problem now, but this shape that we see
15 is a shape that we see in every month in the future.

16 So, just to give you a little bit of a deep dive
17 on how we modeled the technology, I want to show you
18 what a communicating thermostat looks like in a control
19 system. We looked at the costs for the technology, the
20 operating costs, the co-benefits of energy efficiency
21 and the incentives that the utilities might offer. So,
22 we're basically modeling a variety of costs to value the
23 customer load technologies.

24 This is a very important graph. This show you,
25 in green, the resource that's available under \$500 per

1 kilowatt hour for pool pumps, space heating, space
2 cooling, water heating, HVAC, refrigeration, and process
3 and pumping. And each of these you show in orange, the
4 technologically available resource. And blue is what we
5 show participating today.

6 So, we have looked at what is available in
7 customer loads and then what do we think is
8 participating based on the incentives in the market
9 today. And we really want to get more penetration of
10 these shiftable technologies.

11 I'm going to speed up a little. This one shows
12 you the cost per kilowatt hour per year, and you can see
13 that pool pumps are really low cost. And a behind-the-
14 meter customer battery is shown here for reference. And
15 we use that as a reference for when is demand response
16 cheaper than a behind-the-meter customer battery?

17 We have residential water heating as a fairly
18 expensive load. That's getting a lot of attention, but
19 there's not a lot of it. And I'll show you in a second
20 what that looks like.

21 This is what the supply curve looks like. This
22 is a 2030 supply curve. And you'll see the X-axis is
23 gigawatt hours per year. Basically, this is the amount
24 available every day. So, in a sense, you can get about
25 seven -- and the price reference of a battery is about

1 \$150 of levelized costs. So, this is assuming a 10-year
2 life of these technologies, how much does it cost to
3 install them.

4 I will speed up. And I have a look here at the
5 way we modeled electrification. So, we modeled the
6 adoption of electric space heaters and electric water
7 heaters in the residential sector. That was in what we
8 called phase three that we're about to make public. It
9 was not in phase two and it will be in phase four. We
10 will do commercial space heating and water heating as
11 well.

12 This is what the hourly loads look like when you
13 -- in 2025 and 2030 you can see the electrification come
14 in, in the loads. I'm almost done. I want to just give
15 a shout out to the Load Shift Working Group that's been
16 working on what kind of pilots we need for the state,
17 because we are not paying for shift today. So, the Load
18 Shift Working Group was coming with what kind of pilots
19 are needed to create incentives for customer load
20 shifting.

21 And this is my last slide. I want to emphasize
22 that we have a lot of technologies that are coming on
23 the market today. Some of these are thermal storage,
24 some of these are electrification. I want to mention
25 that we need something called the statewide pricing

1 pilot 2.0. About 15 years ago we had a statewide
2 pricing pilot. We worked with time of use and critical
3 peak pricing for residential, and we had a manual, and
4 automated technology response. And we need that sort of
5 thing to get customers familiar with responding to
6 digital tariffs. We need machine-readable electricity
7 prices that we can send to devices. So, the prices to
8 devices theme is a critical one for us to create demand
9 side incentives for customers to address the duck curve.

10 And here, on my deep duck, on Memorial Day this
11 year, 16 percent of the electricity we generated from
12 renewable sources was not used. It was the largest day
13 ever that we were unable to use the load that we
14 generated.

15 And I will thank you for your time. And
16 appreciate the sponsorship from the PUC and the CEC.

17 (Applause)

18 MR. STEINBUCK: Thanks so much, Mary Ann.

19 So, I want to give Commissioners an opportunity
20 to ask any questions or provide any final comments
21 before we turn to the public comment period, as we're
22 running a little bit behind.

23 CHAIR HOCHSCHILD: Just briefly, this is
24 terrific. Thank you all. Just a brief question for the
25 gas, for you. Just looking ahead of me, when I think

1 about adding new gas capacity in California, I mean you
2 have to look at three things, right. What's the price
3 of gas going to be in the future? What's the price of
4 water going to be in the future? What's the price of
5 carbon going to be in the future?

6 Just your perspective on, you know, looking
7 ahead at the carbon risk, the price risk associated with
8 that.

9 MR. SIERRA AZNAR: Thank you for the question.
10 Yeah, I think from my perspective, as I said, we look at
11 this gas technology as a technology, not as a fuel
12 source. I think carbon pricing and the cost of carbon
13 is an externality that should be included in the market.

14 I think something that nobody talked today,
15 except on the first panel, about transmission, right, is
16 as we bring more renewable in, and we can do more demand
17 response, we are killing the incentive for economic
18 revenue. Like if you are a company and now our marginal
19 price is going down, your (indiscernible) is going down,
20 but you're not making any money. So, I think if we want
21 to maintain, as I said, incentivize hydrogen storage,
22 incentivize solar and wind, we need to price carbon. I
23 think, actually, that is something that from a
24 technology stand point is beneficial to us. Because
25 that means that incentivize emitting technologies to

1 speed up and invest in R&D, just to make sure that they
2 convert. As I said, we are converting machines to
3 something that is clean. It's not about capturing CO2
4 or not. We are really happy with carbon capture
5 technology. I think we want more R&D funding, if
6 possible, to develop more. But it has to be spent in
7 figuring that the carbon cycle is closed. Because if
8 you're going to just hand a credit line to the fossil
9 industry, that is not really solving an issue. You're
10 just handing kind of like a postpone and keep burning
11 more fossil fuel.

12 But carefully designed legislation can actually
13 help develop carbon capture that closes the carbon
14 cycle.

15 COMMISSIONER MCALLISTER: So, I have a couple
16 questions. I'm going to start sort of in reverse order
17 for Mary Ann. Thanks again. I really am -- it's great
18 to see this long trajectory of work that just leads to,
19 you know, in a very I think intentional way. And so,
20 just congrats on all the good work. And, hopefully, we
21 can find ways to keep supporting it.

22 So, a couple questions on -- well, one point and
23 then a question. I would just point out that actually,
24 in our Business meeting this week, we opened an OAR on
25 load management standards and plan to work with the PUC

1 on this. And what we're doing is just, I think,
2 extremely complementary and lends itself to working
3 together.

4 And so, all the things you said, like machine
5 readable, you know, all these different technologies and
6 how we can make that happen. Absolutely, you know,
7 invite and I know you'll participate in that. So, that
8 will be great.

9 Let's see, I guess my question is -- well, I'll
10 just also include, you know, we have SB 49, which is
11 going to focus on demand flexibility of our appliances.
12 And then, we also have Title 24 for 2022 and we're going
13 to focus on commercial and multi-family, and figure out
14 how we can incorporate some of these demand flexibility
15 capabilities as, you know, mandatory or voluntary
16 elements of new construction.

17 So, I think all those things really are leading
18 in a place where we can have a coherent discussion, and
19 I'm really, really optimistic about that.

20 It seems like sort of the situations, you know,
21 like things are converging. We're getting sort of a
22 nice convergence on that.

23 So, my question is do you -- so, open ADR, you
24 know, I think is great and, you know, happy that it
25 exists. I guess, what's your feeling currently about,

1 you know, what that -- is there like a killer app that's
2 going to allow plug and play for these resources, so
3 that all of these literally billions of points of
4 interconnection, potentially, can at low cost, with low
5 friction communicate and work together? Is it building
6 open ADR? Is it something different?

7 MS. PIETTE: Yeah. So, open ADR was really
8 designed for events. And an hourly price can be an
9 event. But a tariff may have characteristics that if
10 you read it for one month it has when the high price is,
11 how much is the price on the weekend.

12 So, this digital tariff or machine readable
13 tariff is something a little bit different than open
14 ADR. Open ADR has pieces of it, but I do think -- and
15 I've been talking with the utilities about how to get,
16 how to automate time-of-use response. And it can be a
17 one-time download that that thermostat knows the
18 schedule of the time-of-use prices. it doesn't have to
19 be continuously communicating, but we need a
20 representation of a tariff that maybe we update it once
21 a month, and you check your i-Phone, just like your
22 updates. You know, which we all hate when you have to
23 update your software. But some sort of way that you can
24 represent the tariff.

25 Now, EV tariffs, resident TOU -- PG&E's going to

1 be on residential TOU next October. And we want to be
2 ready so that people can have their home on -- Ask
3 Alexa, should I run my dishwasher now technology, that
4 is it in the cloud or is it in a local gateway. We need
5 some pieces that aren't there, yet.

6 COMMISSIONER MCALLISTER: Does it have to be a
7 tariff. I mean, can it be just, okay, yeah, like a
8 carbon content signal or something like that, that's not
9 --

10 MS. PIETTE: It could be a carbon content
11 signal, but they better save money on their bill.

12 COMMISSIONER MCALLISTER: Yeah. Yeah. So, I
13 think, I guess --

14 MS. PIETTE: So, that's what the problem is, the
15 carbon tariff and the retail aren't that coupled.

16 COMMISSIONER MCALLISTER: Yeah.

17 MS. PIETTE: It's because that's part of the
18 problem.

19 COMMISSIONER MCALLISTER: Yeah, well, they need
20 to be. It would be great if we could bring those
21 together.

22 MS. PIETTE: They need to be. That's it, if
23 they were, then I would say yes.

24 COMMISSIONER MCALLISTER: Yeah, okay. So, I
25 guess I'd just encourage people to think about whether

1 the state has to get in the middle of that or whether
2 there's some kind of, you know, what's the -- how the
3 stakeholders get mobilized to come up with that
4 solution.

5 MS. PIETTE: Yeah.

6 COMMISSIONER MCALLISTER: Because I think
7 there's a real bias towards -- at least I'm perceiving
8 that there's a real bias towards proprietary approaches
9 and I think that's not going to get us -- you know, my
10 gut is that that's not going to get us --

11 MS. PIETTE: Yeah, I think the more we
12 standardize it further down.

13 COMMISSIONER MCALLISTER: Okay. Well, great.
14 Thanks a lot. That platform question I think is really
15 key.

16 So, for storage, maybe to either or both of you,
17 Alex and um -- Janice. Sorry Janice. Can you give us a
18 little bit more thoughts about the path to market for
19 the seasonal storage? Like what's the value proposition
20 going to be to like connect point A to point B, like
21 where we are to where we need to go?

22 MR. MORRIS: Good question. So, seasonal
23 storage, what's the path to market. I think right now
24 there isn't one and we see no clear reliability signal
25 at all for having capability that lasts that long.

1 I think this is not just something that storage
2 sees. I think a lot of natural gas resources would also
3 highlight this. And that's been okay so far, but now
4 we're entering, you know, a new world where we're
5 letting -- you know, sort of winding down the old fleet,
6 moving into the new fleet, and so we do need rules and
7 price signals that will address that. Our reliability
8 products have basically been designed for peak day
9 needs. And we just fundamentally know that's not what's
10 needed.

11 So, I think some regulatory reform is one of the
12 first areas of action. And, certainly, there's a lot of
13 smart groups and agencies in the state are looking at
14 that. But it hasn't yet translated to a product that's
15 fungible, and transactable, and bankable, yet. It's
16 really been energy oriented or sort of short duration
17 capacity oriented and that's not doing the job.

18 COMMISSIONER MCALLISTER: Yeah.

19 MS. LIN: And I'd like to add to that that
20 there's sort of two levels. There's system level, but
21 also these, you know, frequently now occurring PSPS
22 events --

23 COMMISSIONER MCALLISTER: Yeah.

24 MS. LIN: -- which can be several days. There's
25 one happening coming up, apparently. So, I think

1 there's an opportunity to think about that in terms of
2 resiliency for micro grid compensation mechanism.

3 COMMISSIONER MCALLISTER: Yeah.

4 MS. LIN: And then the other thing I was going
5 to say, which is where I thought you were headed is like
6 the technology solution set. Is that your question?

7 COMMISSIONER MCALLISTER: Well, I mean to
8 invest, to bring investors in you've got to have some
9 path to a business model that works. And so, I guess
10 that's a technology-specific, potentially, question but
11 --

12 MS. LIN: Definitely. But the thing I wanted to
13 say is that there are solutions that exist today, where
14 there really isn't a big technology hurdle. And it
15 really is one of finding the compensation pathway.

16 COMMISSIONER MCALLISTER: Yeah. Okay thanks,
17 appreciate that.

18 And, actually --- well, go ahead.

19 MR. MORRIS: I just wanted to add on that, you
20 know, when we -- when we, the state, started on this
21 storage journey, a lot of it started with AB 2514,
22 which, you know, basically said is our -- you know,
23 let's look at how to transform this energy storage
24 concept into reality. And I think a question is still
25 lingering from there and worth revisiting is how do we

1 sufficiently develop the toolkit? And I think your
2 point is, well, maybe we've developed a lot of the
3 toolkit, it's been great. It's a good success. But
4 maybe it's not sufficiently developed and we need to do
5 more work and road mapping on the pathway for those
6 longer duration resources.

7 COMMISSIONER MCALLISTER: Anyway, thanks a lot.
8 Actually, I don't think anybody mentioned that today, in
9 the Legislature, there's been a hearing all day about
10 the PSPS. And Secretary Batjer -- President Batjer has
11 been there and a bunch of others. So, you know, clearly
12 this is a lot of important discussion going on.

13 The last question is on nuclear, Jessica. So,
14 where, could you give us a little, maybe just a brief,
15 very brief, because I know we're over time, but kind of
16 -- well, really, two questions. One, are there -- where
17 would you predict in the WEC, or in the Western U.S.
18 we're likely to see nuclear development, I mean given
19 there's a moratorium in California. But where might
20 there be nuclear power going on to the Western Grid.

21 MS. LOVERING: Yeah, I mentioned the NuScale's
22 first project, which is going to be selling electricity
23 in Utah, but actually built in Idaho. And UAMP's the
24 utility that is buying that electricity. They are
25 shutting down a very old coal plant and they wanted

1 something of a similar size to replace it.

2 So, I think with the way markets are structured
3 right now, it's likely you will see the next few
4 projects like that be likely municipal utilities looking
5 to shutter base load plants that are fossil fuel
6 powered, because it's a better sort of one-for-one
7 replacement.

8 COMMISSIONER MCALLISTER: Okay.

9 MS. LOVERING: And it can be cost competitive
10 with coal. So, I think that's pretty likely.

11 COMMISSIONER MCALLISTER: You didn't mention,
12 that I heard, the waste issue. And I guess, what's the
13 sort of current on, you know, whether -- well, what's
14 the current thinking on that? You know, DOE is 30
15 years, you know, breaking the law. So, what are we
16 expecting moving forward.

17 MS. LOVERING: Yeah. So, it's a problem that
18 needs to be solved no matter what we do, even if we
19 phase out nuclear and stop generating, we still need to
20 come up with a solution. So, my focus has been on, you
21 know, there's been some movement in Congress lately
22 about restarting the process of whether to have one
23 centralized facility, or several regional waste storage
24 facilities, and that just needs to go forward no matter
25 what.

1 I think one interesting thing with these micro
2 reactors is you would not be storing spent fuel on site
3 when you have a lot more of these very small reactors,
4 the even smaller. But most of them are looking at is
5 you would fuel a reactor at the factor where you build
6 them, and ship them to the site sort of sealed, fully
7 fueled. They run for maybe 10 to 30 years and then you
8 send them back to the factory and --

9 COMMISSIONER MCALLISTER: Recycle them.

10 MS. LOVERING: Yeah. So, the fuel is handled in
11 a centralized facility. So, right now, we're storing
12 spent fuel at sort of 70 locations around the country,
13 at all the power plants. And there's reasons maybe
14 that's not the best idea.

15 So, the factory fabrication can kind of help
16 with that in sort of keeping fuel handling and also
17 spent fuel in fewer locations.

18 COMMISSIONER MCALLISTER: Great. Thanks a lot.
19 Thanks, everybody, for a good panel.

20 MR. STEINBUCK: Yeah, I just want to add my
21 thanks as well. I really appreciate the rich set of
22 information that you've brought forward to inform this
23 discussion. You're welcome to continue to sit there for
24 a few minutes, as we have some public comments from our
25 Public Adviser.

1 MS. GALLARDO: Okay, now I can hear myself. My
2 name is Noemi Gallardo. I'm the Public Adviser for the
3 Energy Commission. And we will kick off public comment
4 in the room, first, and then we'll go to WebEx in case
5 anything comes through.

6 You have up to three minutes to speak. You'll
7 have a flashing sign over here that your time's up, in
8 red.

9 So, I was asked by two members of the public to
10 read their comments. The first one is from Michael
11 O'Boyle. First, how should we think about how
12 transmission costs for out-of-state wind and other
13 resources will be paid for? Other states will benefit
14 from increased transmission capacity, particularly AC
15 lines. Will they pay? Can multi-state agencies work
16 together more effectively to optimize?

17 The second comment is from Bruce Ray. What
18 about fusion power? For decades, fusion power has been
19 25 years in the future. Is that still true?

20 All right, so the next comment, someone who
21 filled out the comment card gets priority. Elise Hunter
22 from Grid Alternatives.

23 And then, other folks in the room, please feel
24 free to line up behind either of the two microphones.

25 MS. HUNTER: Hello. Can you hear me?

1 MR. STEINBUCK: Yes.

2 MS. HUNTER: Great. Hi, my name is Elise
3 Hunter. I'm from Grid Alternatives. We are a nonprofit
4 organization based in Oakland, but we have presence all
5 over California. Our mission is to provide under-served
6 communities with access to clean technologies. And
7 we're a program administrator of low income solar
8 programs, including the SOMA Program and the SASH
9 Program in California.

10 I wanted to make a comment about equity. It was
11 brought up at the beginning of the workshop. And make
12 the recommendation that the SB100 report include at
13 least a chapter on equity, if not a whole separate
14 report on equity.

15 We had a lot of really interesting discussions
16 today on the mix of resources, the cost of resources,
17 the potential benefits of resources, but not necessarily
18 where those resources are going to go, and who is going
19 to get them, and when.

20 And I think those are really key questions that
21 we need to answer in SB100. As you know, the piece of
22 legislation does call out disadvantaged communities and
23 the need for decks to access these resources.

24 We've got a great foundation report, I believe,
25 in the CEC's SB350 report, which talks about barriers

1 for these communities in reaping and having access to
2 solar technologies. So, now that we understand the
3 barriers, how do we ensure access? And this report
4 could look at best practices, programs that are out
5 there that have succeeded or maybe not succeeded, and
6 make some really clear recommendations on how we're
7 going to make sure that low income communities and
8 disadvantaged communities can have these technologies.

9 So, I just wanted to put that out there. Grid
10 Alternatives, as one stakeholder, is really interested
11 in participating in that effort. And I look forward to
12 discussing this more in future workshops and meetings.
13 Thank you.

14 MS. GALLARDO: All right, anyone else in the
15 room have a comment?

16 Okay, anyone come through on WebEx?

17 Okay, I think we can close public comment.
18 Thank you.

19 MS. GUTERREZ: Okay, at this time I will look to
20 Commissioner McAllister to see if there are any further
21 closing remarks?

22 COMMISSIONER MCALLISTER: No, nothing
23 substantive. I just want to thank staff for putting
24 together a great workshop. Again, I really like to see
25 the collaboration with our sister agencies. And I know

1 there's just a lot of work behind the scenes. Tara, I
2 know you've been sitting there quietly all day, but
3 moving and shaking behind the scenes there, too.

4 And absolutely want to thank all the panelists.
5 I mean, you really are the tip of a spear of a lot of
6 people behind you that are doing great work. And, you
7 know, we do need solutions, but we've got a lot of good
8 stuff going on.

9 I mean, the technological landscape is
10 incredible, right. And I think a number of people have
11 brought up that many of our issues are with just the
12 complexity of the institutional landscape. You know,
13 and that in large part the regulatory landscape, but not
14 entirely.

15 And so, you know, I think collaboration, and
16 communication, and platforms for discussion are really
17 where the details get hashed out on this. And so, you
18 know, we're committed, as I know, well, all the agencies
19 are to work together and, you know, collaborate as much
20 as we need to on some of these bulk issues with the ISO,
21 and others, to make sure that all the different pieces
22 of the puzzle are fitting together as best they can, and
23 in a timely way. I mean, I think we all acknowledge how
24 much urgency there is. We're in the middle of living
25 climate change and it's just every day more clear.

1 So, yeah, just everybody keep your sleeves
2 rolled up and we'll have another opportunity to talk
3 soon. And, you know, also outside of this room and
4 beyond, you know, keep us all accountable. You know,
5 like pay attention. And if we're too slow, tell us,
6 because we need that little -- we need somebody
7 breathing down our neck to get it done. So, you know,
8 speaking for, you know, myself. I won't speak for all
9 the Commissioners. But, you know, I think it's good to
10 have a little urgency injected into the proceedings.

11 So, again, thanks a lot and we'll see all of you
12 at the next opportunity, and Aleecia will give you some
13 of those details

14 MS. GUTERREZ: Great. And speaking of platforms
15 for discussion, we will -- we are going to hide away for
16 a couple of months to do some modeling, and then we will
17 resume our workshops that will dig into some of the
18 details looking at the modeling results, including
19 reliability, equity, land use, and some of the other
20 topics that are called out in legislation.

21 So, we will continue to update our webpage,
22 which is shown here. If you have written comments,
23 especially those that are more technical in nature,
24 please submit those to the CEC docket listed here. We
25 are asking for comments by December 2nd.

1 And I think with that, we will give a big round
2 of applause for all of our panelists and presenters
3 today. Thank you very much.

4 (Applause)

5 MS. GUTERREZ: And that concludes our workshop
6 for the day. Thank you very much for hanging in there
7 with us.

8 (Thereupon, the Workshop was adjourned at
9 4:10 P.M.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25