

DOCKETED

Docket Number:	19-IEPR-03
Project Title:	Electricity and Natural Gas Demand Forecast
TN #:	231394
Document Title:	Transcript of 09-26-2019 Commissioner Workshop on Emerging Trends for California Energy Demand Forecast
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	1/7/2020 8:13:43 AM
Docketed Date:	1/7/2020

CALIFORNIA ENERGY COMMISSION

COMMISSIONER WORKSHOP

In the Matter of:) Docket No. 19-IEPR-03
)
2019 Integrated Energy Policy) Emerging Trends for the
Report (2019 IEPR)) California Energy Demand
) Forecast
)
_____)

CALIFORNIA ENERGY COMMISSION (CEC)

WARREN-ALQUIST STATE ENERGY BUILDING
ART ROSENFELD HEARING ROOM, FIRST FLOOR
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

THURSDAY, SEPTEMBER 26, 2019

10:00 A.M.

Reported by:

Gigi Lastra

APPEARANCES

COMMISSIONERS

Janea A. Scott, Vice Chair

J. Andrew McAllister, Lead Commissioner

CEC STAFF

Heather Raitt, Assistant Executive Director, Policy
Development

PRESENTERS

Matt Coldwell, California Energy Commission

Hongyan Sheng, Southern California Edison

Rachel McMahon, Sunrun

Nathan Wyeth, Sunrun

Mike Jaske, California Energy Commission

Ingrid Neuman, California Energy Commission

Elliot Martin, University of California Berkeley

Caitlin Miller, California Air Resources Board

Cary Garcia, California Energy Commission

MONDERATOR

Lynn Marshall, California Energy Commission

PANEL

Rebecca Simonson, Sonoma Clean Power

Gary Lawson, Sacramento Municipal Utility District

J.P. Ross, East By Clean Energy

APPEARANCES

PUBLIC COMMENT

George Nesbitt

AGENDA

	<u>Page</u>
Opening Comments	6
Janea Scott, Vice Chair	
J. Andrew McAllister, Commissioner	
Introduction	9
Heather Raitt	
1. Workshop Goals	10
Matt Coldwell, California Energy Commission	
2. Distribution Planning in a High Electrification Future: SCE's Perspectives	15
Hongyan Sheng, Southern California Edison	
3. Customer-Sited Resources Providing Grid Services	36
Nathan Wyeth and Rachel McMahon, Sun Run	
4. Scenario Assessment of Building Electrification	52
Mike Jaske, California Energy Commission	
5. Additional Achievable Energy Efficiency Scenario Design	81
Ingrid Neuman, California Energy Commission	
6. Transportation - Forecasting the Future of Mobility	105
Elliot Martin, University of California Berkeley	
Caitlin Miller, California Air Resources Board	
7. Forecasting Community Choice Aggregation	154
Gary Garcia, California Energy Commission	
8. Panel on Forecasting Community Choice Aggregation	167
Rebecca Simonson, Sonoma Clean Power	
Gary Lawson, Sacramento Municipal Utility District	
J.P. Ross, East Bay Clean Energy	

AGENDA

	<u>Page</u>
Public Comment	213
Closing Comments	215
Adjourn	215

1

1 right metric or quite the right measure.

2 So this is an example of some of the
3 things that we're looking at as we look at these
4 emerging trends in California and the types of
5 technologies and other things that we will be
6 using as we head to the 100 percent clean energy
7 standard. So I'm very much looking forward to
8 hearing what some of these.

9 And let me turn to Commissioner
10 McAllister.

11 COMMISSIONER MCALLISTER: Yeah. Thank
12 you, Vice Chair Scott. Also really looking
13 forward to this.

14 I want to just go ahead and thank the
15 Forecasting Team, Siva and Matt and everybody
16 who's going to present and who's behind the
17 scenes here, as well as the IEPR Team, Heather
18 and her team.

19 So I'm the Lead Commissioner on
20 forecasting issues, on the forecast here at the
21 Commission. And this is, you know, just bread
22 and butter stuff for the Commission. And in a
23 way it's, you know, got great continuity because
24 we've been doing it for 40 years and, you know,
25 increasing, really evolving our tools, definitely

1 in an incremental way, over that time. And it's
2 sort of evolved in perspective and expanded in
3 its sort of breadth, certainly over the last
4 decade.

5 But I think, really, we're in a moment
6 where the forecast is having to grapple with a
7 whole bunch of issues all at once that really
8 haven't been with us for all that long, and
9 certainly evolving how we approach -- well,
10 Commissioner Scott, you know, mentioned how
11 things are -- how all these questions now
12 intersect and overlap in ways that they haven't.
13 Certainly in the electric and gas sectors, you
14 know, we're seeing all sort of overlap and trends
15 that are going to -- that we need to understand.

16 So in the electric sector, you know,
17 distribution planning, demand and supply and
18 their interaction, you know, trying to gage what
19 the long-term investments and the distribution
20 grid are going to have to be to deal with our
21 high electrification scenarios and the policies
22 that are pushing us in that direction. You know,
23 all these things are relatively new questions
24 that we're developing the tools to address. And
25 stakeholder engagement in a detailed way is going

1 to be really key to helping us get those tools
2 right and evolving them intentionally over year
3 two-year IEPR forecast cycle.

4 So anyway, with that, I will pass back to
5 Heather to get us started on the agenda.

6 So thanks. Thanks, everybody, for being
7 here.

8 MS. RAITT: I've got a few housekeeping
9 items.

10 If there is an emergency, please follow
11 Staff out of the building and across the street
12 diagonally to the Roosevelt Park.

13 And just need to let folks know that we
14 are recording this workshop. And so it's being
15 broadcast, also, through our WebEx conferencing
16 system. And we'll have an audio recording and a
17 written transcript posted on our website in about
18 a month.

19 And we will have an opportunity for
20 public comment at the end of the day. So if
21 folks in the room want to fill out one of these
22 blue cards, they're at the entrance to the
23 hearing room. And you can give it to me and then
24 we can let the Commissioners know that you want
25 to make comments.

1 And then for folks on WebEx, you can use
2 the raise-your-hand feature to let us know that
3 you want to make comments. And you can also use
4 that feature if you change your mind and you can
5 let us know that you've changed -- that you don't
6 want to make comments.

7 Written comments are due October 10th and
8 always welcome. And the notice gives you the
9 information for how to do that. And the notice
10 and all the presentations are posted on our
11 website.

12 And so with that, we can get started.
13 And Matt Coldwell will give an introduction for
14 the workshop today.

15 Thanks.

16 MR. COLDWELL: All right. Thank you,
17 Heather.

18 So good morning, Vice Chair Scott and
19 Commissioner McAllister. So we really appreciate
20 you being here with us today, as well as
21 everybody in the room and on the phone this
22 morning. So my name is Matt Coldwell and I'm the
23 manager of the Demand Analysis Office here at the
24 Energy Commission.

25 So let me start by saying that the Demand

1 Forecasting staff is incredibly excited about
2 today's workshop topics and discussions, so --
3 because everybody knows, in the room this
4 morning, the energy sector really continues to
5 evolve based on policies, on policies, market
6 trends and customer choices. So some of this
7 evolution is happening fairly rapidly in the near
8 term, while other changes will occur more slowly
9 and play out over the course of the next several
10 years.

11 So really, either way, for energy demand
12 forecasting purposes it's critical that we
13 maintain situational awareness of these changes
14 and begin to reflect them in our forecasts.

15 So that's the primary goal of today's
16 workshop. You know, we're really delighted to
17 have a broad range of presentations and
18 discussions on some of the key emerging
19 forecasting trends that have been identified,
20 both by CEC staff, but also by our stakeholders
21 that have been participating in our stakeholder
22 processes.

23 Today's discussion, of course, is only
24 step one. So step two is going -- you know, is
25 for CEC staff to be able to take the information

1 that we're gathering today and from there -- and
2 from subsequent discussions and from there,
3 really start to develop methods to incorporate
4 those trends into our forecasts.

5 So let me just spend a couple minutes on
6 the topics that we'll be covering today.

7 So solar plus storage. So customer-site
8 solar has been, you know, has been and continues
9 to be very successful in California. In fact,
10 you know, earlier this year, California passed
11 the 1 million solar roof goal, so we've had quite
12 a few installations of solar on rooftops in this
13 state. However, we are beginning to see the
14 market sort of move past solar-only resources
15 serving individual customers to solar plus
16 storage, and potentially even plus other types of
17 resources that are aggregated with other
18 customers that are capable of providing grid
19 services.

20 And so while exciting, forecasting
21 changing load profiles of these customers
22 presents a challenge. And so we are really
23 fortunate to have Sunrun here today to provide
24 their perspective on customer-sited resources.

25 Building electrification. So

1 decarbonizing the state's building stock has been
2 solidified in legislature in regulatory decisions
3 in California. Additionally, a number of
4 California cities recently have passed full or
5 partial bans on natural gas in new buildings,
6 really paving the way for all-electric buildings.
7 This really introduces a new variant into energy
8 demand forecasting and system planning as end-use
9 energy consumption switches from natural gas to
10 electricity.

11 So today we have a presentation from CEC
12 staff on an exploratory study on the impacts of
13 fuel substitution which is being done in parallel
14 this year to the forecast.

15 So the future of mobility. So, like
16 buildings, decarbonizing the transportation
17 sector is really essential to achieving
18 California's near- and long-term GHG emission
19 reductions goals. So while electrification,
20 obviously, is a big part of that, so are changing
21 mobility options and smarter community design
22 approaches that really have the potential to
23 impact driving patterns and transportation fuel
24 use.

25 And so really, to be honest, I'm very

1 excited about the two presentations we have on
2 forecasting the future of mobility today, one
3 from UC Berkeley on new mobility systems and
4 technology, and then one from our sister agency,
5 the California Air Resources Board, on
6 sustainable transportation and communities.

7 Community choice aggregation. So our
8 last discussion of the day is a panel on
9 community choice aggregation. So according to
10 the California Community Choice Association there
11 are currently 19 CCAs serving more than 10
12 million customers in California.

13 So today's discussion on the CCA panel
14 will touch on a variety of topics, including
15 decarbonization programs, demand-side
16 technologies as grid resources, load modifiers,
17 and forecasting methods. So we're really pleased
18 to have Sonoma Clean Power, Valley Clean Energy
19 Alliance, and East Bay Clean Energy here to
20 provide their perspective.

21 And so finally, system planning. So, of
22 course, while all of today's emerging forecasting
23 trend topics add layers of complexity to energy
24 demand forecasting, equally important is the
25 complexity they add to electric system planning,

1 you know, where infrastructure investment
2 decisions must be made to accommodate these new
3 electricity loads. So we're really excited about
4 our first presentation this morning.

5 And so unless there's any questions at
6 this point from the dais, so I'd like to
7 introduce Hongyan Sheng from Southern California
8 Edison. She's here to provide SCE's perspective
9 of distribution planning in a high
10 electrification future. She's all the way from
11 Southern California, so let's give her a round of
12 applause.

13 (Applause.)

14 MR. COLDWELL: You can come up here.

15 MS. SHENG: Thank you, Matt, for the
16 introduction. My name is Hongyan Sheng. I'm
17 from Southern California Edison.

18 First of all, I'd like to thank
19 Commissioners for providing this opportunity for
20 SCE to share its perspective in terms of how to
21 prepare California for its clean energy future.
22 We really appreciate the opportunity as a
23 stakeholder to share our perspectives.

24 As we all know, California has set its
25 ambitious goal towards the long-term

1 decarbonization to create the clean energy future
2 for California. As we recognize, you know, this
3 is ambitious goal, really what we see is that it
4 really requires the whole economy to participate
5 in this, you know, journey to help the state to
6 get the long-term goal.

7 As we are from the electric sector side,
8 we're looking at electric sector is, you know,
9 getting more and more clean, what is the more
10 affordable way for California to reach the 2030
11 goal, for example, you know, to help us really be
12 successful in the long-term decarbonization goal?
13 We really see that it does require significant
14 electrification from both transportation and
15 building sectors to help reduce the carbon
16 emissions from those two sectors.

17 So I'd like to start with, you know, how
18 we see what is required to help California to get
19 to its long-term clean energy future. And then
20 share our perspective in terms of how likely we
21 are looking at California getting to that long-
22 term future. And then share some, you know,
23 preliminary evidence or insight we have gained
24 from SCE side in terms of the potential impacts
25 we'll be getting, you know, as we're trying to

1 move toward that long-term future and how we need
2 to be able to react to those transformations and
3 be able to plan for the changes to happen to
4 support a better, you know, California future.

5 So when we update our long-term view
6 towards what is the feasible cost-effective
7 pathway for the state to reach its long-term GHG
8 goals, we saw that, similar to CEC's previous
9 decarbonization, deep decarbonization study, that
10 a significant high level of transportation
11 electrification is needed. We are looking at
12 more than 7 million light-duty electric vehicles,
13 for example, are necessary for the state to meet
14 the 2030 GHG goal.

15 And, you know, the graph is not
16 necessarily about the differences we see in terms
17 of the levels we need to reach between the CEC
18 study and SCE study. It really is kind of eye
19 opening for us to think about the level of the
20 future electric vehicle penetration, how
21 different it is to the current world. If you
22 imagine, you know, 1 out of 50 vehicles on the
23 road is from electric vehicle today, that's going
24 to be several ten times more by 2030, which is
25 what we look at what's required to really clean

1 the transportation sector. So that's a
2 tremendous change from the transportation
3 electrification sector.

4 And similarly, when we look at the
5 building electrification, the building sector, we
6 also found that a significant level of building
7 electrification is required. More than 30
8 percent penetration from both new home market, as
9 well as retrofit market, would bring us a more
10 cost effective and feasible pathway to reach the
11 state's long-term clean energy goal.

12 So this, you know, may sound really eye
13 opening, you know, how can we move all the levers
14 to help the state to get there, even though we
15 recognize that the high significant level is
16 required? So I'm really excited to share with
17 you some of the positive experiences SCE has been
18 going through and, you know, to help you, you
19 know, see similar to us that, you know, there's
20 a, you know, likely hood that, you know, we as a
21 state, if we work together, we can get to that
22 high electrification future.

23 From SCE's transportation and
24 electrification program side, our program folks
25 have been working on programs designs to really

1 help our market customers to overcome barriers in
2 terms of availability, affordability and
3 awareness to help move the levers for California
4 to build that high transportation electrification
5 future. We have the Charge Ready Pilot Bridge
6 Program. And, you know, depending Charge Ready 2
7 Program with significant investment to target for
8 a significant number of charging port deployment
9 across Southern California. Today, we already
10 installed more than 1,100 charging ports but
11 there's a lot more to come.

12 And one exciting recent movement is that
13 our program folks worked really creatively to be
14 able to tap into the multi-unit dwelling sector,
15 which we know is a very challenging sector for,
16 you know, the adoption of electric vehicles due
17 to the convenience of charging. So we're really
18 excited to see that, you know, sectors, you know,
19 going through the transformative changes through
20 our program. And we hope there's more we can
21 bring out to overcome those barriers.

22 Similarly, from the medium- and heavy-
23 duty transit bus, you know, area, our -- SCE's
24 Charge Transport and Transit Bus Programs also
25 broke ground with the investment and really

1 targeting for more infrastructure to help enable
2 the fleet to convert their vehicles into, you
3 know, zero-emission vehicles.

4 So from our program side, we already
5 started seeing that there is more application,
6 more activities going on. And we are really
7 excited about, you know, serving as the agent to
8 really overcome the barriers.

9 In addition to this, you know, we also
10 are excited, you know, by working with, you know,
11 CARB, for example. We are looking at -- you
12 know, there's more policies. You know, some of
13 them already came, you know, to support the
14 medium- and heavy-duty electrification. And we
15 anticipate, working with CARB, that there is
16 going to be more regulations that's upcoming that
17 will help further facilitate the, you know,
18 electrification of the medium- and heavy-duty bus
19 sector, which will greatly help with the, you
20 know, reduction of emissions, carbon emissions.

21 So some of the policies, as you are
22 aware, that we have the SB 350, Utility
23 Infrastructure Program, and something that's
24 forthcoming, for example, the Advanced Clean
25 Truck Program, all these, you know, policies and

1 regulations is really going to bring significant
2 transformation as we see through specific
3 sectors. And you know, to lay it all out, we'd
4 like to really help you understand that this
5 really means a lot of things that we have to
6 think thoroughly through as utility planners how
7 to better prepare for that transformative changes
8 from a great operation side to ensure the
9 reliability.

10 From the building electrification side,
11 we also see that more programs, policies need to
12 be developed to overcome barriers to enable
13 adoption of building electrification. We're
14 excited that, you know, some of the programs'
15 policy developments are already breaking ground
16 but, you know, we expect more will be, you know,
17 upcoming.

18 The good thing, the positive thing is
19 that -- most encouraging thing is that, based on
20 recent studies, there is already indication of
21 the economics, you know, from a cost
22 effectiveness perspective that, you know, many of
23 the residential, single-family home, for example,
24 already would be seeing the economics for
25 electrified homes with, you know, space heating,

1 water heating. So, you know, the economics
2 there, and how do we help overcome the barriers
3 for more electrification choices to happen?

4 So I hope that's, you know, giving us a
5 really positive feeling about how likely
6 California will get to that ambitious clean
7 energy future.

8 So when we look at what does this mean
9 for our grid, you know, specific areas that we
10 recently have looked into is the medium- and
11 heavy-duty electric vehicle, you know, through
12 the SCE Charge Transport Program applications, we
13 were excited to get, actually, many applications
14 in a very short time, you know, a few dozen
15 applications that, you know, really kind of
16 overwhelm us as utility planners, you know, how
17 to accommodate all those customer requests to,
18 you know, help them enable them to electrify
19 their fleet.

20 So when we looked further into the nature
21 of those applications, we saw that, you know,
22 these projects potentially could create
23 significant impact on distribution and sub
24 transmission systems because the sizes of those
25 projects could range, you know, from less than a

1 megawatt to, actually, a couple megawatts. And
2 that, depending on, you know, where those
3 projects are located, it really could create
4 significant constraints on our distribution
5 system.

6 The preliminary data shows on the map
7 here just service indication, as you can see the
8 clusters of those projects, you know, they can
9 really be concentrated in the local areas which,
10 you know, will bring different impacts on our
11 distribution grid.

12 So, you know, how do we prepare
13 ourselves, you know, for this upcoming -- these
14 upcoming activities which, you know, are exciting
15 things that we see is necessary to help us get to
16 the clean energy future?

17 First thing we reacted to is, you know,
18 how much time do we have to be able to reflect
19 these things into our planning that is, you know,
20 necessary for us to be able to help customers to
21 go through their transformation? Typically, when
22 we look at any project that would trigger, you
23 know, any kind of, you know, upgrade for our
24 distribution system, depending on what kind of,
25 you know, upgrade need it is, it ranges from, you

1 know, 1.5 years, for example, for a simple
2 distribution line extension to 7 to 10 years,
3 approximately, for building a new substation or,
4 you know, creating a new sub transmission line.

5 So we recognize this is really
6 challenging for us in terms of preparing our
7 distribution grid for the future transformative
8 changes because we have a lot of work to go
9 through to support our customers.

10 Even when we look at, you know, in
11 addition to the traditional ways of bringing
12 those additional upgrades of infrastructure
13 investments to support the growing need, if we
14 were to consider the alternative mitigation, you
15 know, method which is looking at, you know,
16 deferring our transmission needs through
17 distributed generations, it typically requires us
18 to build our planning view for those upcoming
19 needs three to five years ahead of time because
20 of the, you know, long-term planning need. So
21 this definitely gives us, really, a forewarning
22 sign that we need to be well prepared for all
23 these transformative changes.

24 So in addition to the long lead time that
25 is necessary for us to prepare our, you know,

1 grid planning, we're also looking at how can we
2 reflect the incremental local load growth into
3 our distribution system planning?

4 Currently, we are required to apply
5 existing IEPR forecast for the ten-year
6 distribution planning analysis. But with the
7 rapid development from -- as we talk about the
8 program, you know, and code standard development,
9 policymaking and the regulations, through the
10 high -- making, you know, the high
11 electrification future, it really required us to
12 start, you know, reacting to those changes
13 quickly enough to adequately forecast the future
14 incremental demand growth across the planning
15 horizon, you know, in a timely fashion.

16 So we, you know, really started seeing
17 that, you know, there needs to be a collaborative
18 process for utility planners to work with Energy
19 Commission staff to develop a process through
20 which we can, you know, bring the knowledge
21 together and assess the needs for any incremental
22 local load growths that our utility planners need
23 to reflect in their planning so that we can well
24 prepared ahead of time.

25 In the long term we already see that, you

1 know, helping, you know, bring out more utility
2 local knowledge to help, you know, align the IEPR
3 view with what, you know, different things that
4 utility planners are seeing in the fields. And
5 be able to also introduce a high electrification
6 policy scenario forecast that's part of the IEPR
7 would be really ideal, or facilitating the longer
8 term planning, including the PUC's Integrated
9 Resource Planning, for example. It would really
10 be great to enable a lot more close examination
11 of the future implications across the planning
12 horizon through that high electrification
13 scenario development.

14 So that's my presentation. I'd like to
15 open it up for questions.

16 VICE CHAIR SCOTT: Sure. I had a
17 question for you back on slide nine, the previous
18 slide, you're bullet number three, in terms of
19 developing a new process between CEC and the
20 utilities.

21 Do you envision something like the Demand
22 Analysis Working Group or a collaboration like
23 that for this, or what are you thinking when you
24 say a new process?

25 MS. SHENG: Yeah. Previously, SCE

1 planners had worked with Energy staff -- Energy
2 Commission staff, Nick (phonetic) and Siva's
3 team, to, you know, help bring the knowledge
4 toward -- around the local known load growth that
5 may be outside of IEPR. But that process was not
6 part of a formal process which we now see that it
7 becomes more critical as we start getting more of
8 these newer developments as part of the
9 transformation toward a high electrification
10 future.

11 We really see the need for us to have
12 more collaborative efforts to inform the Energy
13 Commission, and also build the common
14 understanding towards what's the necessary
15 incremental load growth that we need to put into
16 our planning, we'd like to build a formal
17 process, if possible, so that we can gain a
18 deeper common understanding across the planning
19 assumptions that will be utilized for our
20 distribution planning.

21 So, you know, utilizing the existing DAWG
22 forum, you know, that could be really helpful.

23 VICE CHAIR SCOTT: Thanks.

24 COMMISSIONER MCALLISTER: So, yeah, I
25 want to sort of dig into this a little bit more

1 too. So, you know, formal can mean different
2 things. And so I guess one, you know, one
3 concern that we all have, I think, is how to
4 optimize costs and not -- you know, certainly
5 take care of reliability, that's job one, but
6 also not duplicate investments unnecessarily;
7 right?

8 So you've talked a lot about the
9 distribution planning effort. And I guess I want
10 to ask if you have any thoughts about how that
11 can dovetail efficiently or optimally with, you
12 know, the sort of transmission level, you know,
13 the more higher voltage distribution, you know,
14 subs transmission investment conversation that,
15 you know, more is sort of tilting over towards
16 the ISO, for example, who does transmission
17 planning.

18 You know, how we do we have it both ways
19 where we're not overinvesting but we are taking
20 care just at the right level of reliability at
21 the distribution level?

22 MS. SHENG: Yeah. So that's a really
23 good question.

24 SCE's transmission distribution system is
25 unique in the sense that the needs we are looking

1 at is pretty much at the local sub transmission,
2 the distribution level. We may not see any need
3 at the bulk system transmission level which, you
4 know, CAISO would be looking at the, you know,
5 transmission-level reliability. But the needs
6 we're looking at is, you know, it's something
7 that the transmission solutions will not be able
8 to solve, and that's really what we'd like to
9 address. We also need to ensure the reliability
10 at our distribution system level.

11 COMMISSIONER MCALLISTER: So when you say
12 a new process, could you describe what that
13 means, kind of analytically, in terms of how
14 granular we would need to take that discussion?
15 Are you talking at the substation level, sub
16 level? Like what's your kind of -- how rigorous
17 do we need to be at how localized a level?

18 MS. SHENG: Yeah. For the examples I
19 shared earlier, typically we're looking at the
20 projects that is, you know, at a specific site.
21 And those sites are potentially served by
22 multiple, you know, Edison facilities which could
23 be, you know, simple circuits or relatively
24 larger substations. So, you know, it will
25 involve, you know, we examining, you know, how

1 much impact we will need to examine across those
2 facilities that will pick up the needs from those
3 projects.

4 COMMISSIONER MCALLISTER: So in terms of
5 tools for forecasting, you would bring that kind
6 of -- that level of information to a forum at the
7 Energy Commission as part of the forecast or, you
8 know, in some complementary form, like the DAWG
9 or --

10 MS. SHENG: Yeah. Definitely, this will
11 be an exciting opportunity as we look at working
12 with the Energy Commission Demand Division staff,
13 the whole team, in terms of how to establish the
14 key components for us to be able to closely
15 examine the need for incorporating those
16 incremental load growth. I think it's something
17 that we believe we need to work through with
18 Energy Commission staff to really build an
19 efficient process for us to get the common
20 support.

21 COMMISSIONER MCALLISTER: How would you
22 envision that process sort of in the forecasting
23 context, coordinating with or informing the
24 Public Utilities Commission in terms of their
25 distribution system planning effort, you know,

1 and cost allowances and things like that, that
2 they would be having, you know, a discussion that
3 they would be having with you about the rate
4 base, et cetera?

5 MS. SHENG: Yeah. That's exactly where
6 we're coming from because, currently, under the
7 guidance of Public Utilities Commission over our
8 distribution planning effort, the general
9 guideline is for us to apply the existing IEPR
10 forecast. We actually then further disaggregate
11 the IEPR forecast down to our distribution
12 planning level.

13 COMMISSIONER MCALLISTER: Right.

14 MS. SHENG: As we look at, you know,
15 those incremental activities that will drive new
16 type of need to help state enable to, you know, a
17 high electrification future, if that's not part
18 of the existing IEPR forecast, how can we, you
19 know, have this process where we would gain
20 Energy Commission staff support for us to
21 incorporate the additional local load growth so
22 that, you know, when the Public Utilities
23 Commission is looking at their decision in terms
24 of approving the prudence of a utility's
25 potential future investment, they would have the

1 strong support from Energy Commission staff's
2 assessment in terms of the reasonableness behind
3 those, you know, reflection of the planning
4 assumption changes.

5 COMMISSIONER MCALLISTER: Okay. So,
6 yeah, sorry to make you repeat it a little bit
7 there. But, yeah, this seems like a potentially
8 significant new lift within the context of the
9 forecast which, I think is appropriate. But we
10 need to think about sort of how we remain
11 accountable but make it not completely onerous in
12 terms of just the level of effort.

13 So thanks for that. I don't have any
14 other questions.

15 VICE CHAIR SCOTT: I had one more
16 question, if you have thoughts on this, and if
17 you don't, that's okay.

18 I'm thinking about things like cars,
19 electric cars, or battery storage which can be
20 both supply and demand. And do you have thoughts
21 on the best way for us to capture that kind of
22 thing within our forecasting? Right. So I guess
23 what I'm wanting to make --

24 MS. SHENG: Yeah.

25 VICE CHAIR SCOTT: -- if we're not

1 looking it at on the demand side, making sure we
2 capture it on the supply side, but if we're not
3 looking at it on the supply side, making sure we
4 capture on the demand side, except for it crosses
5 both. So how do we -- if you have suggestions
6 for how we best make sure we're capturing those
7 types of technologies as we forecast forward,
8 right, because we'll see a lot more of those, I
9 think, as we get to the 100 percent clean energy
10 standard.

11 MS. SHENG: Yeah. That's really and
12 interesting development perspective. From my
13 perspective, I think in the longer term future,
14 when we start getting more electric vehicles in
15 the space the batteries become potential resource
16 on the grid that we can potentially draw from to
17 support the optimization of the grid ideally.

18 But now I think the bigger challenge between
19 now and then is how do we enable the market
20 transformation for us to get there. Only when we
21 get to see so many EVs on the road, we can start
22 meaningfully optimizing those batteries to
23 support the grid operation in a different way,
24 for example, potentially optimize the GHG, you
25 know, emissions at different times, but without

1 the scale. And I think there's a lot of things
2 that we have to work through from an engineering
3 perspective or from the technology, enabled
4 technology perspective. There's a lot more, I
5 think, to be worked out for us to be able to
6 leverage that scale once we get there. And
7 hopefully it will bring us more cost effective
8 ways to leverage those as additional generation
9 resources.

10 COMMISSIONER MCALLISTER: I would just
11 throw out the same thing with respect to
12 buildings, you know? I mean, again, ratepayers
13 have to pay for all this; right? So EVs are a
14 new load that we need to manage and could be a
15 benefit to the grid if we know how to use them
16 properly. And the same things applies to
17 buildings.

18 So I guess, you know, really, I would
19 ask, as we try to figure out how to make
20 recommendations for investments in the
21 distribution grid, that Edison, you're
22 particularly well placed, obviously, to inform
23 this discussion as, you know, the electric-only
24 utility here in the state, to help the rest of us
25 understand, you know, what that optimal level is.

1 You know, we need to invest in our buildings so
2 that they can -- load level, so that they can,
3 you know, use low carbon electricity when it's
4 available and avoid using it when it's not, avoid
5 using electricity when it's high carbon.

6 So anyway, grid flexibility is going to
7 help us optimize these investments and be the
8 light touch on ratepayers over the long term. So
9 we're going to rely on Edison, really for the
10 data, to help understand how that should happen.
11 So I appreciate your active engagement.

12 MS. SHENG: Thanks.

13 VICE CHAIR SCOTT: Great. Thank you for
14 being here. Really appreciate it.

15 MS. SHENG: Thank you.

16 VICE CHAIR SCOTT: Our next presentation
17 is going to be customer-sited resources providing
18 grid services.

19 MS. RAITT: Oh, here. Come on up.

20 MS. MCMAHON: Good morning. I'm Rachel
21 McMahon with Sunrun, and this is Nathan Wyeth.
22 Thank you for the invitation to present to you
23 today.

24 What we offer in this presentation is an
25 overview of scenarios in which -- is my

1 microphone on? -- okay, good, scenarios in which
2 Sunrun's residential solar plus storage systems
3 are used for services beyond the host customer.
4 So increasingly, resources located behind the
5 utility meter are providing services to the grid
6 and to the serving entities, the wholesale
7 market, et cetera, beyond the boundaries of the
8 host customer's load. And such an evolution
9 necessitates the way that we plan for those
10 resources and contract for those resources.

11 And so to that end, our presentation also
12 includes some recommendations as to modifications
13 to the load forecasting process with the aim of
14 ensuring that resource providers, as well as
15 procuring load serving entities, obtain the full
16 value for any distributed energy resources that
17 they procure for additional services.

18 And with that, I'll turn it over to
19 Nathan.

20 MR. WYETH: Hi everyone. Glad to be
21 here.

22 So just briefly on Sunrun, we are the
23 nation's largest residential solar provider. We,
24 over the last 13 years, have brought residential
25 solar to about 255,000 customers, coming up on 2

1 gigawatts of capacity nationwide, and that's
2 primarily a fleet of solar installations that we
3 actively monitor and manage. In the last three
4 years, we very rapidly made a shift to
5 incorporate battery storage into our new
6 installations, starting in Hawaii, and now
7 California is our largest market for that
8 product.

9 And with that, as Rachel described, we
10 have begun focusing on how that battery can
11 provide the most financial value to customers in
12 the form of, for example, time-of-use bill
13 management, in addition to emergency backup
14 power. But then we think there's a lot of ways
15 it can go beyond that to provide a range of
16 services to the grid. And we think this raises
17 interesting questions, particularly in relation
18 to how residential load is modeled and expected
19 to occur that are worth considering so that that
20 value can be fully realized.

21 So just to go one layer deeper into what
22 we mean when we say there's additional value that
23 can be delivered to the grid from a battery
24 that's managing time-of-use rates. The standard
25 way that you might anticipate a PV-paired battery

1 on a residential meter would manage a customer's
2 bill would be to charge from solar during midday
3 periods when the value -- the cost of the retail
4 rate and the value of net-metered exports is now
5 lower and going lower, and to charge the battery
6 and use that to discharge in the peak period to
7 reduce the customer's load or, potentially,
8 export back to the grid. So that basic function
9 is straightforward.

10 But then there's, obviously, a lot of
11 value in the hour-to-hour or even minute-to-
12 minute pattern that the battery could deliver in
13 terms of charging and discharging, as well as
14 capacity value that can be provided, for example,
15 by a proxy-demand resource or other potential
16 load modifications.

17 This can be -- you can operate a battery
18 in that way individually or it can be looked at
19 in aggregate. And so these graphs are just
20 pulled from a presentation where we were
21 describing for an LSE how you would take hundreds
22 or even thousands of individual sites and
23 modulate the charging and discharging to produce
24 an aggregate shape that would respond to
25 particular needs, again, whether energy or

1 capacity.

2 So one of the questions that we have
3 begun to wrestle with as we've tried to advance
4 this approach within market constructs in
5 California comes down to how batteries might be
6 expected to respond to time-of-use rate structure
7 which is the direction that, you know, California
8 has gone in and soon, you know, the default will
9 be time of use for residents, for the vast
10 majority of residential customers across the
11 state.

12 This graph is -- actually, you don't need
13 to pay too much attention to the lines in trying
14 to decipher what's going on here because our
15 point in showing you different battery discharge
16 profiles during the peak period is to say that
17 any of these discharge profiles have the same
18 economic outcome for a customer because any
19 battery discharge profile during the time-of-use
20 period will result in the same load reduction or
21 exports that accrue to the customer's bill.

22 So stepping back a little bit, we think
23 this raises an important question about how you
24 can forecast storage and -- sorry, was that a
25 question? -- oh, okay, and in the sense that we

1 believe that battery storage charging and
2 discharging, while it happens behind the meter in
3 the same way, in the same place that load occurs
4 is a bit fundamentally different. And while it
5 may be arbitrary whether one person turns on a
6 light or turns off a light during that peak
7 period, you know, a pattern can be predicted.

8 And it is much harder to apply that same
9 logic to batteries if they're not informed or
10 integrated with the market, so -- which is to say
11 that absent an active management of the battery
12 for -- in a market-informed or market-integrated
13 basis, you might have battery discharges being
14 set sort of by default by a manufacturer.

15 We have three or four, you know,
16 residential battery products on the market today
17 for the most part. In the future, you could have
18 dozens from dozens of manufacturers, dozens of
19 software platforms managing them. And all it
20 would take to produce a shift in battery output
21 from one hour to the next across, potentially,
22 hundreds of thousands of batteries would be
23 someone saying, okay, instead of discharging at
24 5:00 p.m., let's move all the batteries to 6:00
25 p.m. And that would have no impact on the

1 customer, no impact on the customer bill, but a
2 large impact on the grid.

3 And so we believe that the active
4 management of batteries in a market-informed or
5 integrated way adds value. And we need to be
6 able to account for that value in relation to
7 forecasts. So I think there's a lot that could
8 be delved into there.

9 To bring this back to some specific use
10 cases, I'll just go into two examples of how we
11 see this more active management adding value that
12 we believe needs to be able to be recognized in
13 relation to forecasts.

14 So one, the first one I'll touch on is
15 Sunrun's recent contract we signed with East Bay
16 Community Energy to provide local and system RA
17 from a set of distributed solar and storage
18 installations that we plan to install on
19 multifamily sites in Alameda County with a focus
20 in West Oakland.

21 So for the customer the battery will
22 manage -- will charge and discharge from behind-
23 the-meter solar. It will manage time-of-use or
24 demand charges based on which tariff, primarily
25 the common load of the sites are on. And then we

1 expect this to then be used as a proxy demand
2 resource to reduce load in the ways that will
3 deliver resource adequacy to EVCE.

4

5 The second example I want to touch on
6 comes from outside of California but we think is
7 a construct that has a lot of value. In ISO-New
8 England the forward capacity market has a number
9 of different capacity products but one of them is
10 what's called passive demand response. And this
11 is, essentially, daily load shaping in relation
12 to peak capacity needs in the summer and winter.
13 And it could be -- there are some corollaries to
14 what used to be permanent load shift or, I guess,
15 still is permanent load shift in California but
16 enables a battery to shape load to the needs of
17 the wholesale market on a daily basis, but it's
18 only providing capacity value. It's not active
19 in the market, providing energy value.

20 And in these places, it's more backup
21 power for the customer. There's not, generally,
22 time-of-use rates. And in addition to the
23 capacity in the wholesale market there is also
24 potential to reduce transmission charges for the
25 utility. So that's another construct that we

1 think is really promising.

2 I think that's my last slide and I'll
3 turn it back to Rachel.

4 MS. MCMAHON: So the following three
5 recommendations, as I indicated at the outset,
6 are suggestions that we have for modifications to
7 the CEC's load forecasting process to adequately
8 capture the value of these systems to the benefit
9 of the procuring load serving entity, as well as
10 the resource provider.

11 And to make a clarification that I didn't
12 say at the beginning, so as Nathan mentioned, one
13 of our projects will be integrated into the
14 market under the proxy demand response product.
15 We would like to be able to offer products to
16 load serving entities that do not require market
17 participation. It's a particularly difficult
18 path for distributed energy resources, and
19 particularly behind-the-meter residential
20 resources, so -- and this presentation doesn't go
21 into that. But in any case, I'm happy to answer
22 any questions about it.

23 And so for the most part, well, still
24 today, and I imagine into the foreseeable future,
25 the most valuable product that -- to a load

1 serving entity is capacity. And so our first
2 recommendation is aimed at better aligning the
3 load forecasting process, particularly the
4 assumptions for autonomous adoption of behind-
5 the-meter resources, with the local capacity
6 procurement process at the PUC and the local
7 capacity technical study process at the CAISO.

8 And so this recommendation is to, instead
9 of forecasting assumptions of distributed energy
10 resources by the three transmission access areas
11 in the state, instead, planning -- forecasting
12 them by local capacity area. And the benefit of
13 this is it would be easier for a load serving
14 entity to verify forecasted DER assumptions and
15 procurement.

16 And I should say, to back up a little
17 bit, as you may or may not have heard, as this
18 has been quite controversial over the last couple
19 of years, is that in some utility solicitations
20 for behind-the-meter resources, we wind up in
21 this somewhat nebulous conversation of whether or
22 not our system is already baked into the load
23 forecast. And there's no way to verify that and
24 no way to prove it and no way for a load serving
25 entity to look at its load forecast in a

1 particular local area because, of course, these
2 are inherently local resources that are providing
3 local resource -- or local reliability capacity,
4 ultimately, is their true benefit. There's no
5 way to kind of parse that out of what are they
6 buying behind what would already have occurred?

7 And then another benefit, as I already
8 kind of touched on, is better alignment with the
9 supply-side resource adequacy process in order to
10 get equivalent capacity credit, and also so the
11 CAISO can include -- can more specifically
12 include resources in its local capacity technical
13 study process. So ideally this will wind up
14 overall driving down procurement costs. But in
15 any case, it's the first of our recommendations.

16 And the next two recommendations somewhat
17 go together. So in our analysis of LSE IEPR
18 supply forms, they include supply-side resources
19 and not behind-the-meter resources. And so our
20 recommendation is to include in the LSE forms an
21 extra sheet for behind-the-meter dispatchable
22 resources and for an hourly forecast, so an 8760
23 forecast of when they expect these resources to
24 be dispatched.

25 Let's see here. Now, as Nathan kind of

1 alluded to, behind-the-meter solar and storage
2 systems are predominantly dispatched according to
3 rates. A multiple use application scenario, this
4 won't always necessarily be true. And, of
5 course, as the -- how do I say? -- as the needs
6 change on the grid, this will continue to not
7 necessarily -- it won't -- let me back up. It
8 will no longer be appropriate to put -- to plan
9 resources just based on peak but rather being
10 able to shift generation to shorter periods, et
11 cetera. So enabling LSEs to put hourly data,
12 particularly for resources that they've procured
13 outside of -- that they've procured and
14 contracted for would enable a far more accurate
15 reflection of what these resources are actually
16 contributing and what other resources are needed.

17 And then the penultimate bullet, so LSEs
18 should have the ability to submit specific
19 dispatch use cases, so these could be use cases
20 that are set beforehand based on an assumption
21 of -- based on contracted resources or resources
22 that they expect to contract for.

23 And then our third recommendation ties
24 pretty closely to this one, which instead of a
25 load serving entity developing these scenarios,

1 the Energy Commission, instead, would do so. And
2 so to develop some assumptions for behind-the-
3 meter -- and we're only speaking about solar plus
4 storage here because that's what we do, so it may
5 be appropriate to do this for all behind-the-
6 meter resources. But I just wanted to clarify
7 that our recommendations are focused on solar
8 plus storage.

9 So at any case, in this recommendation
10 the Energy Commission could project deployment of
11 a certain number of systems and predict how they
12 will be utilized, so it could be a few different
13 use cases. They could use the three TOU rate use
14 cases that Nathan presented. And then load
15 serving entities will verify those assumptions
16 and provide evidence, like ex-post, that
17 assumptions could be adjusted based on contracted
18 behind-the-meter resources providing grid
19 resources.

20 And those are our recommendations in a
21 nutshell. And, of course, forecasting is not what
22 we do, so we were just looking at it from the
23 perspective of a resource provider and what we
24 want to offer our customers, so thank you.

25 COMMISSIONER MCALLISTER: Thanks for

1 that. Really interesting. So I guess I have a
2 couple of questions.

3 So in the scenario you just described
4 where, you know, there's aggregated behind-the-
5 meter solar plus storage and storage is being
6 sort of actively dispatched, you know, what does
7 that look like in practice in terms of how does
8 the aggregation -- how would you see the
9 aggregation happening? What's the visibility?
10 What's the settlement? What's the
11 accountability? I mean, ex-post kind of scares
12 me a little bit. It seems like, you know, you'd
13 want some, basically, real-time visibility into
14 that, certainly if you're an LSE, but also, you
15 know, we would want that as backup for any
16 forecasting work we would do.

17 MR. WYETH: So let me try and describe
18 how we would think about operating and tell me if
19 I'm covering what you're getting at.

20 So the starting point that we would
21 operate from, and we imagine others would but
22 can't speak for every business model or
23 technology, we would incorporate our customers
24 and, theoretically, aggregations could include
25 DERs deployed by multiple developers via -- with

1 a customer agreement that would say, you know, so
2 this DER is providing bill savings to you but we
3 may also utilize it for additional things and
4 we'll settle up on our -- you know, through our
5 power purpose agreement or otherwise if we modify
6 what would have been your bill savings. That
7 enables us to look at the resource in terms of
8 its capability in excess of what is provided to
9 the customer and offer that in the CAISO or via
10 the kind of load modification scheme that we
11 described within LSE.

12 For our systems and I think the typical,
13 what you typically see, for a battery will be the
14 ability to directly meter the output of the
15 battery at the inverter, so you'd have a revenue-
16 grade meter that, you know, in different
17 jurisdictions are being -- is being accepted as
18 equally valid with the utility meter in terms of
19 verifying data, that data would be aggregated and
20 shared, you know, in a -- if we're working with
21 an LSE to deliver a particular load shape, for
22 example, that would be delivered to them. I
23 think that data can be structured and delivered
24 to the CEC. In the CAISO context, it's also
25 being structured and delivered back in that

1 settlement process.

2 MS. SIMONSON: And one clarification as
3 to my comments on ex-post, and so these
4 recommendations are specific to a new project.
5 There will be some assumptions going in as to,
6 well, for a new project or for a use case, you
7 would develop some assumptions about how the
8 resource will operate. And then you can verify
9 with ex-post data to then inform the forecasting
10 of that resource going forward.

11 COMMISSIONER MCALLISTER: Okay. Got you.

12 So on the technical front are you --
13 well, if you're going to do this -- so you showed
14 the graphic of the time of use; right? And so
15 within the time of use, you know, peak period,
16 you could dispatch in any number of different
17 ways. You know, there are infinite
18 possibilities. So if you were to do this
19 frequently, you're going to be cycling that
20 battery a lot. And, I guess, have you thought
21 about the -- you know, the lithium ion batteries
22 or whatever you're putting in have a cycle life.
23 So have you sort of thought about the cost of
24 that and the contractual issues there?

25 MR. WYETH: Yeah. Certainly. And this

1 is, in our -- in Sunrun's predominant business
2 model we actually are owning -- we own the
3 battery and we are providing the service to the
4 customer in a PPA or a lease, so we do. We think
5 every day about the condition of that battery
6 because we have to replace it if it degrades
7 beyond a certain point.

8 If you have a time-of-use rate for which
9 the battery is cycling, typically, once a day,
10 maybe its cycling every weekday over the year,
11 maybe not weekends if the rate differential isn't
12 sufficient, you're doing 270 or 365 cycles a
13 year, what you would be doing in a lot of cases
14 would be modulating the pattern that its
15 discharging. And it's possible that could have a
16 very incremental impact on degradation if you're
17 discharging at the maximum or discharging over --
18 you know, at a lower level over a longer period
19 of time. But we see that within being within the
20 band of degradation that's well worth it in
21 relation to the value that it can deliver.

22 COMMISSIONER MCALLISTER: What battery
23 life are you sort of anticipating in this
24 scenario?

25 MR. WYETH: So today, we're operating

1 with equipment that's warrantied for ten years,
2 typically 3,600 cycles, so effectively, daily
3 cycles for ten years. We're seeing warrantees
4 being offered beyond that period and, sort of
5 from vendors, so out to 15 years. So that's the
6 timeframe that I would tend to expect.

7 COMMISSIONER MCALLISTER: Okay. I guess
8 that's all I have. Thanks. Okay. Great.
9 Thanks a lot.

10 VICE CHAIR SCOTT: Thank you. Thank you
11 very much for being here.

12 MS. SIMONSON: Thank you.

13 VICE CHAIR SCOTT: We will go on to our
14 next presentation, which is the scenario
15 assessment of building electrification.

16 MR. JASKE: Good morning. Mike Jaske,
17 Energy Assessments Division staff. And what I'm
18 going to do today is provide an overview of a
19 project that has been designed to try to reveal
20 some broad consequences of different levels of
21 residential and commercial building
22 electrification.

23 So as these three bullets indicate,
24 really the purpose of this exploratory study was
25 to understand the relative importance of

1 different assumptions that go into making these
2 kind of projections. We wanted to develop a tool
3 that could assess the annual energy implication
4 of substitution of electricity for natural gas.

5 And then also, in the second stage, to
6 develop hourly load impacts for that incremental
7 electricity energy. And this would provide a
8 starting point for assessments of amount and type
9 of generation resource additions that might be
10 appropriate to this incremental load. And I
11 believe that there is going to be a presentation
12 about the preliminary version of a major
13 electrification scenario at a workshop at the end
14 of October, so sort of splitting the demand side
15 and the supply side into two parts.

16 And, in fact, even the demand side
17 portion of this effort is being split into two
18 parts. What I'm presenting today is a
19 description of the sort of background of building
20 electrification scenarios that were developed to
21 assess the implications of different progressions
22 of new construction, electrification, retrofit
23 electrification, and different levels of depth of
24 that, develop some understanding of the
25 sensitivity of those results to different hourly

1 load profiles for different end uses and give a
2 preliminary version of these results to our
3 system assessment people so that they can do some
4 electric generation impact assessment.

5 In the second part I'm going to present
6 the actual detailed results, which is just too
7 much to do all in one sort of half-hour session.
8 So -- and in the meantime, between now and then,
9 I maybe tweaking the scenarios a little bit and
10 perhaps even some of the hourly profiles that I'm
11 using to generate the results.

12 So the basic approach that we're
13 following in this effort is to start from the
14 staff's 2017 IEPR Natural Gas Demand Forecast.
15 So there we have a ten-year projection of what
16 residential end use load, commercial building end
17 use load. And that can then be the starting
18 point for certain assumptions about how much of
19 that natural gas load is converted to electricity
20 and, in the second step, converting that annual
21 electricity energy into hourly impacts.

22 So we're going to devise some scenarios
23 that take advantage of this sectoral and end use
24 level starting point data, kind of the baseline
25 forecast, quantify the amount of natural gas

1 displaced, annual energy produced, and then,
2 ultimately, hourly load impacts.

3 So this is just a simple listing of the
4 various policy initiatives that are encouraging
5 building decarbonization. And many times these
6 are thought of as building electrification
7 efforts. They don't necessarily have to be but
8 certainly that will be the assumption for this
9 particular study.

10 Many of these provide a direction, like
11 our Title 24 Building Standards have eliminated
12 either a real or a perceived barrier to all-
13 electric residential dwellings. SB 1477 is
14 actually providing some explicit funding for fuel
15 substitution activity but it's quite small in
16 proportion to the hundreds of millions or
17 billions of dollars that might eventually be
18 required.

19 AB 3232, of course, directs the Energy
20 Commission to conduct a cost effectiveness
21 assessment of a major displacement of natural
22 gas. And other things are going on that are all
23 clearly in the direction of some kind of
24 electrification.

25 There are a lot of unknowns, just a of

1 which are listed here at the bottom of this page.
2 Are we talking about natural gas which is, of
3 course, limited in its geographic extent, or are
4 we also talking eventually about other fuels,
5 like LPG or wood for rural areas? Different
6 dynamics of how that might go about. And are we
7 talking about this development of electrification
8 via market forces or through programmatic efforts
9 that intentionally subsidize or enhance -- enable
10 customers to convert from natural gas to
11 electricity?

12 Another dimension here that we had to
13 wrestle with is what are the various sources of
14 GHG emissions and are we going to try to deal
15 with anything other than just the direct
16 combustion part?

17 So here are the four traditional ways of
18 identifying GHG emissions. Of course, direct
19 combustion, refrigerant leakage from various
20 appliances that have compressors, fugitive
21 emissions, and that, of course, can be described
22 in certain -- in a variety of fashion, as the
23 local distribution level. The bulk gas
24 transmission system, or even expanding all the
25 way up to the production level. And then

1 incomplete combustion, some controversy at the
2 last workshop we had on these subjects about the
3 extent to which incomplete combustion, you know,
4 is actually incomplete combustion of methane,
5 like in the cooking process, versus inherent
6 emissions from the food that's being cooked.

7 So these are all, except for direct fuel
8 combustion, the other three of these are fuzzier.
9 And best as we can understand from the CARB
10 inventory, all of the three together are not
11 nearly as big as the direct combustion part, and
12 so that was the focus for this study.

13 So let me talk now about the design of
14 the scenarios.

15 So the first thing to keep in mind is
16 that there actually is quite a variety of natural
17 gas usage across the state, different emphases.
18 So there will be several charts here where I'm
19 actually displaying the staff's baseline gas
20 demand forecast and the relative importance of
21 different end uses because that will end up being
22 important to the results.

23 It doesn't so much matter from a GHG
24 perspective whether we're displacing space
25 heating combustion in Northern California or

1 Southern California. But it makes a big
2 difference to the electricity load provider and
3 to, perhaps, even the transmission system where
4 that takes place. And as Edison's representative
5 said earlier today, these are issues that may,
6 you know, become important, even down at the
7 distribution system level.

8 So here in PG&E, if you look at the
9 rightmost column, it's the percent that all these
10 12 or so end uses are of the total. Forty
11 percent of all the residential and commercial
12 building use of gas is in central space heating.
13 And 17 percent are associated with water heating.
14 Commercial is very much lower, none of them
15 hitting ten percent or more.

16 Same sort of chart, this being for the
17 SCE part of the Southern California Gas service
18 area. And as I said before, we are looking at
19 these results at the electric service area level
20 because that's where the electric load is going
21 to be and the impacts on the electricity resource
22 and procurement process. You can see right off
23 the bat that the space heating is a much lower
24 percentage. Water heating is about the same.
25 And the commercial sector end uses are rising in

1 relative importance as the residential part is
2 lower.

3 Similar story for San Diego space
4 heating --

5 VICE CHAIR SCOTT: Hey, Mike --

6 MR. JASKE: -- is even smaller.

7 VICE CHAIR SCOTT: -- just a quick
8 question for you, Mike, back on that previous
9 slide. Oh, I'm over here.

10 MR. JASKE: Yes, ma'am.

11 VICE CHAIR SCOTT: All the way at the
12 bottom, the commercial miscellaneous is actually
13 pretty high, 13 percent. What types of things
14 are included in that miscellaneous category? Do
15 you have a sense of that?

16 MR. JASKE: Oh, there is a whole raft of
17 things there. Commercial laundries. There's
18 actually certain processes that may not even have
19 an electricity analog and so, at least given
20 current technologies, you know, aren't even
21 capable of being shifted from gas to electricity.
22 So in colleges and other things there's a host of
23 process applications that might fall into there.

24 So it's just a whole hodgepodge of things
25 that don't fit into the usual end uses that we

1 think of.

2 VICE CHAIR SCOTT: Thanks.

3 MR. JASKE: And as I was saying for San
4 Diego, space heating load is an even --
5 residential space heating is an even smaller
6 proportion. Everything else is sort of going up
7 as that goes down. And now there's a number of
8 commercial end uses that are relatively more
9 important.

10 All of which is to say that there's a
11 different situation in each of the major portions
12 of the state and that the consequences of
13 converting natural gas in these various locals is
14 going to have different electricity consequences
15 to the electricity supplier.

16 So just a quick summary, residential
17 space and water heating are by far the largest of
18 the gas end uses. There's a lot of
19 differentiation in space heating, as I just have
20 been emphasizing. Commercial is a hodgepodge
21 of -- oh, commercial miscellaneous is a
22 hodgepodge of specialized things. And overall
23 then the four end uses of space and water heating
24 in both the sectors are really the place to
25 focus, and that was where we put our emphasis.

1 So let me now talk about certain aspects
2 of how one would be going about developing
3 scenarios that have to do with the fundamentals
4 of how we would introduce electric technologies
5 as a replacement for natural gas.

6 So in new construction, of course,
7 there's the issue of whether or not new dwellings
8 in either single family or multiple family are
9 going to be 100 percent electric or are they
10 going to be mostly electric but still allow
11 natural gas cooking or pool heaters or other
12 things, you know, that are of lesser importance?

13 And then in commercial, which are the
14 building types that can be 100 percent electric?
15 The typical strip shopping building with an
16 office and a bunch of little retail stores that
17 probably has packaged units on the roof, that's
18 probably completely feasible to convert that kind
19 of a building to electricity.

20 In other larger buildings, particularly
21 office buildings and large, well, really, large
22 commercial buildings of any type the internal
23 loads are much, much more important. And
24 therefore, it's unclear how weather sensitive
25 they are and, you know, just a bunch of issues

1 about how to deal with those kind of large built
2 up buildings.

3 In retrofit there's a whole host of
4 detailed issues about the performance of heat
5 pumps on either the space heating or the water
6 heating side. If we install them, what happens
7 with other natural gas end uses? When heat pumps
8 are installed in residential dwellings that
9 haven't had air conditioning before, how much air
10 conditioning load is added? Or if they've had
11 room air conditioners and now you're giving them
12 a central capability, how much will that be
13 exercised? So that's a creation of a kind of
14 service that actually hasn't been present before.

15 What proportion of older houses and
16 commercial buildings require expensive electric
17 service upgrades? You know, the whole panel box
18 issue, how costly is that going to be? Can there
19 be programmatic efforts that might, you know,
20 create mechanisms to have that done in -- that
21 kind of upgrade, when necessary, done in a
22 fashion that's less expensive?

23 And then lastly, if we actually do create
24 the intention, which isn't so clear that it's
25 there yet, for a large scale fuel substitution,

1 how should natural gas energy efficiency programs
2 change while that electrification process is
3 unfolding?

4 For example, should we continue incenting
5 efficient natural gas appliances that have a
6 relatively limited lifetime, like water heaters
7 or space heaters, or should we be focusing on
8 building shell kind of investments that have the
9 benefit while that building is still fueled with
10 natural gas but, eventually, if it's converted to
11 electricity will have ongoing electricity
12 benefits? So those are issues that we'll
13 eventually have to get to and that are in the
14 background.

15 Now AB 3232 is an important effort that
16 the legislature has set before the Energy
17 Commission. In assessing the implications of 40
18 percent load reduction relative to 1990 is,
19 obviously, sort of on the massive scale of
20 retrofit. But there are a number of
21 interpretation issues that we are going to have
22 to wrestle with in the formal AB 3232 process and
23 that I also had to deal with in devising sort of
24 a simplified version for this project.

25 So this chart has bars representing

1 different years, 1990, 2016, and then two
2 versions of 2030, the third bar from the left
3 being the sort of counterfactual or baseline
4 forecast, and then the one on the right being the
5 compliance with the AB 3232 goal. And the
6 question, really, or what's depicted here is the
7 distinction between how much natural gas we're
8 talking about displacing. The left-hand bracket
9 with the words "40 percent below 1990" is clearly
10 the simple reading of AB 3232. But if we also
11 have to displace all of the load growth that's
12 shown between 1990 and 2030, there's a much
13 larger amount of natural gas that's being
14 displaced and, therefore, a much larger amount of
15 electricity load being added.

16 So for purposes of this study, this
17 interpretation was used, namely that we're
18 displacing all the load so that load is down to
19 40 percent below 1990 levels.

20 Now there's a second issue of
21 interpretation of 3232. And I don't want to say
22 that this is how the formal 3232 process will
23 unfold over time, but this chart shows, in the
24 righthand -- excuse me, left-hand side of the
25 chart, all the same bars, and the red line

1 showing 40 percent reduction down to 1990. But
2 it also has an additional bar on the far right
3 which is the issue of is it the total of direct
4 combustion emissions from natural gas and the
5 incremental electric generation emissions that
6 has to be 40 percent below? And if that is the
7 case, then, obviously, that means there's even
8 more electric -- natural gas that has to be
9 displaced at the end use level to make room for
10 the electric generation penalty.

11 For purposes of doing this load
12 assessment, I did not use the righthand side
13 interpretation because I really didn't know at
14 the outset how big that electric generation
15 penalty was going to be. And subsequently,
16 System Assessment Office has conducted a study.
17 As I said, they'll be talking about that in the
18 workshop at the end of October. So now we have
19 an idea of what that red bar will look like and
20 we can sort of iterate back and forth. But at the
21 outset of this, that wasn't feasible, so I did
22 not take that into account.

23 So after all this explanation of various
24 factors, here are the five scenarios that I
25 devised and assessed, so two of them having to do

1 with how 2019 Title 24 Building Standards and
2 other things affecting new construction play out,
3 so one scenario starting in 2020 and rising to 15
4 percent by 2030. And what I mean by 15 percent
5 is the share of new construction that is electric
6 space and water heating.

7 So it starts at a low level in 2020. And
8 that marginal share is rising year by year, so
9 that by the time we get to 2030, it's 15 percent.
10 And then a similar scenario, except that it rises
11 faster and gets to the higher level of 25 percent
12 by 2030. So this can be thought of as responding
13 to the change in building standard requirements,
14 the prohibition on new natural gas hookups that a
15 number of cities have enacted over the last six
16 or eight months, and similar forces.

17 Then there's two scenarios that are
18 retrofit oriented, displacing residential space
19 and water heating, starting at a low level in
20 2020 and then rising up to 15 -- excuse me, 10
21 percent by 2030.

22 And then a similar scenario at a higher
23 endpoint, rising up to 25 percent. So in this
24 case, to be clear, taking all of that space
25 heating and water heating consumption that would

1 have been the case in 2030 in the staff's
2 baseline forecast and converting 25 percent of
3 that to electricity.

4 And then a simplified AB 3232 scenario
5 that uses the 40 percent reduction from 1990 by
6 2030 but not with the additional, call it,
7 penalty or allowing for the incremental electric
8 generation load.

9 And then finally, one more detail that's
10 applicable to all of these scenarios is the issue
11 of how the additional electricity load is
12 satisfied. So, obviously, electric -- natural
13 gas is displaced, adds electric load. But the
14 question is: Can some of that load be supplied
15 behind the meter with PV and/or battery storage
16 system in some hours of the day and then whatever
17 those systems couldn't do are supplied by the
18 grid? Or is all of the increment supplied by the
19 grid and relieved to another phase to sort of
20 decide what's the optimal supply strategy?

21 For purposes of this study, I decided not
22 to deal with the behind-the-meter issues and just
23 focus on sort of the gross electric load and let
24 this question of behind-the-meter sourcing be
25 addressed in another study.

1 So after all that, here are the five
2 scenarios listed out in sort of shorthand. And
3 then the amount of natural gas displaced in
4 million therms and the electricity added in
5 gigawatt hours. And these just so happen to be
6 in the same order that I laid them out in the
7 previous slide. So the two new construction
8 scenarios, and there is an error here on line one
9 for scenario one, it should say 15 percent, not
10 10 percent. My apologies.

11 And so starting with that one scenario,
12 those are relatively modest amounts of natural
13 gas and electricity added. As you go down
14 through these scenarios, they start ramping up to
15 bigger and bigger consequences, so that by the
16 time you get down to the simplified AB 3232
17 scenario, we're talking about major displacement
18 of gas and major addition of electricity.

19 To give you a sense of proportion, that
20 3,800 million therms is about one-third of the
21 residential and commercial natural gas baseline
22 forecast. And that electricity added is in the
23 ballpark of 10 to 15 percent of the total
24 electricity load in the staff's baseline
25 forecast.

1 So that's the annual energy result of the
2 analysis. There are number of issues that still
3 remain to be resolved. And I'm going to go
4 through those and, to some extent, I may be able
5 to make some progress on these and report sort of
6 refined results in December.

7 COMMISSIONER MCALLISTER: Hey, Mike --

8 MR. JASKE: I hope that's the case.

9 COMMISSIONER MCALLISTER: -- can I ask a
10 quick question?

11 MR. JASKE: Yes, you may.

12 COMMISSIONER MCALLISTER: So have you
13 mapped any of these scenarios onto sort of
14 different possibilities of what's happening at
15 the local level?

16 You know, we're seeing so much interest
17 in local government. You know, sort of Berkeley
18 started the ball rolling, but now we've got San
19 Jose having the discussion. You know, sort of
20 what percentage of the population? You know, you
21 could think about scenarios about what percentage
22 of population is going to be under kind of a
23 local stretch code that really encourages
24 electrification by 2025, 2030, and maybe just
25 sort of comparing and contrasting different

1 scenarios and matching them up to your numbers
2 here?

3 MR. JASKE: I think that that's
4 ultimately feasible. But since I'm starting from
5 the staff's natural gas end use forecast, which
6 is only --

7 COMMISSIONER MCALLISTER: Yeah.

8 MR. JASKE: -- geographically as refined
9 as forecast zones, it would take an extra step to
10 sort of try to figure out, you know, how much gas
11 is being burned in Berkeley.

12 COMMISSIONER MCALLISTER: Yeah.

13 MR. JASKE: Now we may be able to tease
14 that out of QFER data in sort of a rough share --

15 COMMISSIONER MCALLISTER: Okay.

16 MR. JASKE: -- but it would be rough.

17 COMMISSIONER MCALLISTER: Yeah. I mean,
18 if a few big jurisdictions do it, it could move
19 the needle. Right.

20 MR. JASKE: Yeah. And then I'm not so
21 sure whether the load profiles that we have, you
22 know, are refined enough to actually represent
23 also the pattern of load in that small a
24 geographic area. We just don't have that kind of
25 load profile data at this point.

1 So non-combustion emissions, as I said
2 earlier, we're not dealing with any of these
3 three. Certainly, the AB 3232 project is going
4 to tackle all of these to some degree. And I
5 don't think, in the two months before the
6 realized forecast workshop, that I can make any
7 progress on these.

8 Where there are larger issues and that we
9 may be able to make some progress is in the area
10 of hourly load profiles. So, clearly, we want a
11 tool that translates these annual energy -- well,
12 annual electricity load increases into hourly
13 load impacts, critical for a supply-side study.

14 So part of this project investigated
15 different sources of load profiles, starting with
16 ones that SoCalGas used that, in fact, eventually
17 I traced back to E3' IRP work. Then were
18 profiles I found for the residential end uses at
19 OpenEI. And then the staff's overall project to
20 using the consulting firm ADM to develop load
21 profiles for the Helm (phonetic) model ended up
22 being the best source that was most comprehensive
23 and modern that I could find. So the majority of
24 load profiles in this study come from ADM.

25 There are other potential sources. And

1 this is, obviously, an important area that will
2 motivate us to work with utilities or consultants
3 to come up with the best ones we can. Certainly,
4 we can use building simulation models. The
5 Energy Commission uses them a great deal, focused
6 on Title 24 new construction, but not so much in
7 analyzing retrofit applications and what --
8 there's a lot of diversity out there in different
9 vintages of buildings and how they perform and
10 what putting a modern heat pump in an old
11 building shell might, you know, might look like.
12 So there's a fruitful area of research there.

13 And then to the extent that there are
14 energy efficiency (indiscernible) studies or
15 going back to individual customer AMI (phonetic)
16 data where we can be sure that it's an all-
17 electric building, we can perhaps make use of
18 that kind of data to help inform our load profile
19 effort.

20 And, of course, load profiles on the
21 space heating side are intimately connected to
22 weather. And, obviously, duration and patterns
23 of weather-induced profiles, you know, need to be
24 brought to bear in this. And, unfortunately,
25 they're not yet at the level that summer air

1 conditioning is because electric space heating
2 has been so overtly discouraged in California.
3 So we have a lot of work to do yet to understand
4 climate trends and weather events and try to
5 tease out a convention that is similar to summer
6 air conditioning peak for wintertime space
7 heating.

8 COMMISSIONER MCALLISTER: Also, Mike, I
9 would throw out there the equity concerns here.
10 I mean, an older house with no insulation is
11 going to not have as much flexibility in terms of
12 hours of operation of heating and cooling, you
13 know, because it's got to be on more and it can't
14 coast through long periods. And so, you know,
15 when we think about policies that help our
16 citizens, you know, our residents adjust through
17 this transition, we're going to have to think
18 about, you know, relative -- you know, where we
19 best put our investments. And that equity issue
20 is one that's just going to not go. I mean, we
21 really have to figure our solutions to where
22 we're going to investment to help, you know, the
23 35 to 40 percent of low income get through this.

24 MR. JASKE: Absolutely correct. And
25 there's such a diversity of residential housing

1 condition and just the whole capability of it
2 being modernized in a way that is cost effective
3 for society and beneficial to the resident.

4 So there's a couple, a few charts I'm
5 going to show here just to give you a sense of
6 where we are at looking at this climate and
7 weather issue.

8 So what's depicted on this chart are
9 heating degree days for the three major electric
10 IOUs. So for Edison and PG&E, there are actual
11 multiple weather stations weighted together. For
12 San Diego, not the case. And what's shown here
13 are annual heating degree days from 1985 up
14 through 2015. Obviously, I'm missing the last
15 couple of recent years. This was the data set
16 that was convenient and ready and ready at hand,
17 but we'll add these more recent years.

18 And what is plotted in dotted lines,
19 which probably the audience can't see, is the
20 simple trend through those data.

21 And so when that dotted line is sloping
22 downward, that means that there's a slight trend
23 in climate as measured by heating degree days
24 toward warming. And that actually is the case in
25 all three of these. So there's a very gradual

1 slight warming trend over these 30 years of data.
2 Now that's not the only way that we want to
3 understand weather, of course, because our space
4 heating profiles and the peak of those space
5 heating profiles are actually going to be
6 responsive to individual events of cold weather,
7 not just annual averages.

8 So what this chart is showing is, again,
9 using the same data set from 1985 to 2015, we're
10 looking at the most severe heating degree event,
11 which is a three-day weighted average, again, in
12 each of the major utility service areas. I guess
13 in this case, I've added SMUD and LADWP. And
14 here you don't see that kind of downward trend.
15 In fact, the Southern California utilities at the
16 bottom, which are warmer than SMUD and PG&E at
17 the top, there may even be a slight upward trend
18 in the last 20 years for the most severe three-
19 day event.

20 So that's a form of weather analysis that
21 we need to pursue in more depth and really
22 understand how to make use of these data in
23 devising sort of a typical winter peak-type
24 condition.

25 Just to illustrate even more, you know,

1 the severity of individual weather events, this
2 chart is constructed from the same daily heating
3 degree data. It chooses the worst month out of
4 that whole period for each of the three IOU
5 service areas. It shows, on a daily basis, what
6 the heating degree days were for that worst
7 month.

8 There's a dashed line that shows the
9 average December heating degree days across the
10 entire 31-year period for PG&E and Edison. And
11 what this shows, that even in the worst month, on
12 the first ten days or so of that month both
13 Southern California and Northern California had
14 weather that was average to below average in
15 terms of heating degree days, essentially, warmer
16 than average. Then there's a period of a week or
17 so in there where they're both about average or
18 slightly above. And then this huge spike that
19 happens on the 22nd of December for both PG&E and
20 Edison. And that's spike is, you know, more
21 than -- something like two-and-a-half times the
22 average of the month, so it gives you an idea how
23 much fluctuation can happen.

24 And what is most important is that PG&E
25 and Edison are coincident in this worst weather

1 event. And San Diego, down at the bottom in
2 grey, although that wasn't the worst day for San
3 Diego in the entire 31-year history, it's like
4 the second or third worst day. And so it is,
5 essentially, spiking at the same time as PG&E and
6 Edison. And all three of them then would combine
7 at loads within the ISO. So this is a
8 coincidence issue that is something we try to
9 deal with on the usual summer peak-oriented
10 analysis that we've been doing for years that we
11 need to get into, in greater detail, for these
12 space heating loads.

13 So let me just wrap up here the overview
14 of the initial results. So, obviously, winter
15 incremental hourly load results are very
16 sensitive to these space heating profiles. All
17 those sources of profiles that I mentioned about
18 halfway through this presentation used a
19 different method of selecting weather. Most of
20 them are building simulation result oriented as
21 opposed to actual real data. We need to do much
22 more work, as I've just explained, about
23 alternative weather years so that we understand
24 the sort of probabilistic aspects of this load to
25 guide system planning, resource choice, and

1 operations.

2 And I should say, you know, not just in
3 passing but that there are, actually, significant
4 incremental loads in the summertime that I saw in
5 the preliminary analysis, not nearly as important
6 as wintertime. But, simply, those water heating
7 and the more secondary natural gas end uses, if
8 you electrify some of them, you actually do get
9 significant summer load increases. And I will
10 show all these results in more detail with a lot
11 of charts showing hourly impacts in the December
12 IEPR workshop.

13 Just to remind you the limitations of
14 this study, we only assessed fuel combustion.
15 But, obviously, CO2 is not the only source of GHG
16 emissions. We're not doing any cost
17 effectiveness analysis to devise these scenarios
18 and the penetrations of technologies. They
19 merely assume this level of penetration. What
20 are the consequences?

21 The load profiles haven't been customized
22 to expected heat pump performance. That's one of
23 the big limitations of the existing library of
24 hourly profiles.

25 And finally and not the least important

1 point to make is that Staff believes that these
2 scenario projections are too uncertain to include
3 in official Energy Commission managed demand
4 forecasts, but they're important enough to be
5 published and to enable comment and further
6 development. So what we're essentially going to
7 be doing is excluding any of this, except for a
8 limited amount of new construction from our AAEE
9 scenario definitions. But we will be packaging
10 this up and publishing it, you know, in parallel
11 to the revised forecast so that people can have
12 access to it and we can sort of collectively move
13 forward.

14 And I think I've mostly said all these
15 things that I'm trying to do in the next couple
16 months.

17 Are there any questions?

18 COMMISSIONER MCALLISTER: I guess I would
19 just make a comment, I mean, I think.

20 So your point, your last point there, is
21 taken that there's a lot of uncertainty here.
22 You know, we're at the front end of a lot of
23 things, you know, not the least, EVs. You know,
24 they're sort of on the hockey stick at some
25 level. We know they're going up but we don't

1 know exactly what that looks like, and even, you
2 know, more so for building electrification and
3 building flexibility with the storage, you know,
4 uptake. All those things are highly uncertain.

5 But we don't like work pretty hard to
6 narrow those uncertainty bands here in the next,
7 you know, as soon as -- ASAP, really, we're going
8 to end up overinvesting in the distribution grid
9 in a way that, you know, we maybe don't have to.

10 So I just want to just highlight the
11 urgency here for getting stakeholders involved,
12 for doing some scenario analysis, looking at --
13 you know, our R&D Division is highly engaged here
14 on some detailed studies on the electric side,
15 the gas side. But it's definitely going to take
16 a lot of people rolling up their sleeves and
17 informing us so that you can do the best analysis
18 possible and get a handle on this because it
19 really has huge implications for the electric
20 grid.

21 MR. JASKE: Yes. And you'll see those
22 huge implications in spades in December.

23 COMMISSIONER MCALLISTER: Yeah. And, you
24 know, I'm sort of on the edge of my seat, like as
25 you quantify what the investment in buildings,

1 say, you know, what that's scale is going to be
2 for certain scenarios of electrification, you
3 know, upgrade of existing buildings,
4 particularly, as I said, focused on low income
5 where probably the urgency of some kind of state
6 involvement is highest. Those numbers are going
7 to be large. And the questions is kind of how
8 large and how we can grapple with them?

9

10 So anyway, I appreciate all the effort
11 because this is new territory that's really
12 exciting, but it's also, you know, kind of, I
13 think, making us all straighten up our posture a
14 little bit as we engage with it.

15 So thanks, Mike.

16 VICE CHAIR SCOTT: Thank you.

17 Okay, next we'll have additional
18 achievable energy efficiency scenario design.

19 MS. NEUMAN: Hello. My name is Ingrid
20 Neuman. I'm also with the Demand Analysis
21 Office. AAEE isn't so much an emerging topic but
22 we did want to actually present our preliminary
23 definitions for the AAEE, or additional
24 achievable energy efficiency scenarios, to you,
25 so this was our opportunity to do so, so let's go

1 into that.

2 So we are -- our process overview diagram
3 here, we have various data streams that we get
4 these energy efficiency savings streams from.
5 The first one would be the 2017 CMUA Potential
6 and Goals Study. This is for the POU
7 projections. This is done every four years.
8 That's why the 2017 date is there. That is the
9 most current study.

10 Then another large source of data for
11 efficiency savings come from the IOU projections.
12 That's from the 2020 CPUC Potential and Goals
13 Study.

14 And then lastly, we have our own Energy
15 Commission Beyond Utility Programs which allow
16 scenario designs for beyond utility AAEE
17 projections.

18 So those are first-year projections. The
19 other ones we take as cumulative projections, so
20 they do include the decay and re-participation
21 assumptions by those entities. We do some
22 further scenario design around those but we try
23 to go with the reference case.

24 For the POU's, there is only one case
25 submitted, so we tried to make a more

1 conservative picture, as well, of those
2 efficiency savings, as well as more optimistic
3 scenarios. For the CPUC study, you might be
4 familiar with the scenarios that I presented
5 there. And there is one case that's chosen as
6 the goal for the IOUs then. And we work around
7 that scenario, then, to create our own scenario
8 definitions. And we can design the Beyond
9 Utility as from conservative to aggressive or
10 optimistic scenarios as well.

11 So then we merge those three. But before
12 we do that, there is this little double arrow
13 there between the IOU projections and our own
14 Beyond Utility projections. And that's supposed
15 to indicate the interaction that we have for
16 codes and standards; right? The IOUs do take
17 some credit for their involvement, their advocacy
18 work, for codes and standards in the form of
19 attributable savings.

20 And we also model Title 24, the Building
21 Standards Title 20 and the Federal Application
22 Standards in the Beyond Utility workbooks. So we
23 do have to decide where we're taking those
24 savings' data from. With the Beyond Utility
25 workbooks, we're able to include some future code

1 cycles that are not covered in the PG Study
2 itself, but we certainly want to make sure that
3 we count things once and only once.

4 So then we need to merge all those
5 sources of data to get total cumulative AEEE
6 projections for each year of the ten-year
7 forecast. These are annual projections by
8 utility, sector, end use and scenario. We have
9 six scenarios for the 2019 IEPR cycle, similar to
10 what we had for the 2017 IEPR cycle.

11 Then AEEE really is an hourly load
12 modifier, so it goes into the managed demand
13 forecast. So we have our own hourly tool that
14 gives total 8760 hourly AEEE projects with the
15 same level of disaggregation for all ten years of
16 the forecast period.

17 We've added some capability now to do
18 this by forecast zone or by TAC, you know, based
19 on stakeholder requests, so -- but at least we
20 have that level of disaggregation here.

21 So speaking of those four data streams,
22 rather than showing you all of them at once,
23 well, they are kind of there underneath, right,
24 but we have on the blue, kind of the blue shaded
25 on top, the IOU potential program savings. Then

1 on the very bottom we have the POU potential
2 program savings. Then in the pink we have codes
3 and standards savings which are going to be
4 derived from both the IOU PG Study, as well as
5 from our own work in the Beyond Utility
6 workbooks. And then we have Beyond Utility
7 programs that only live in those Beyond Utility
8 workbooks. So let's dive deeper into that.

9 Before we do, I did say something about
10 overlap, so I tried to give some kind of
11 conceptual view of what that might mean. You
12 might be able to see -- oh, the mouse doesn't
13 show up so well either -- so you might be able to
14 see the timeline where it starts from 2020 to
15 2030; right? Because for our demand forecast,
16 that rolls forward, and it's always about ten
17 years that we're looking at, so we don't want any
18 committed savings which also could come from
19 those data streams.

20 So the first thing we would do is
21 eliminate duplication with the baseline forecast
22 because those committed savings would be going to
23 that baseline forecast. And then we need to
24 eliminate any other duplication between saving
25 streams, which mostly boils down to codes and

1 standards overlaps. So we definitely are
2 cognizant of that and make sure to take those
3 items out line by line.

4 All right, so going into the IOU AAEE
5 scenario design, we start around the reference
6 case. So the titles on the top for the six
7 scenarios, they, you know, start with high-low,
8 mid-low, mid-mid. So the first one refers to the
9 IEPR demand kind of case. And then the second
10 one is the savings case. So we take what the
11 CPUC has voted on, as far as IOU goals from the
12 Potential and Goals Study, we take that scenario
13 and we make that our mid case or mid-mid or
14 scenario three.

15 We have various levers then over here
16 that we could work with to modify and make more
17 conservative or more optimistic scenarios, so
18 conservative being the scenarios one and two,
19 more optimistic being four, five and six as being
20 the most optimistic that we think is reasonably
21 expected to occur in a very, very rosy world.

22 And we look at a sensitivity analysis for
23 those various levers, first within the rebate and
24 financing programs, so those are boxed here
25 with -- and those levers interact with each

1 other, so we do have to look at them as a package
2 so we can modify incentive levels, look at the
3 cost effectiveness measure screening thresholds.
4 We do use the TRC cost effectiveness test for all
5 the scenarios because that's the CPUC uses. And
6 we discuss with them as far as what kind of cost
7 effectiveness thresholds would be appropriate,
8 even for our most optimistic scenario.

9 And then you can look at marketing and
10 outreach, the financing programs, the low-income-
11 specific programs and see if we go from a
12 reference level or if we do a little bit more --
13 or I should say if the IOUs do more outreach, you
14 know, how much more market penetration can they
15 get for those programs?

16 Then separately, there is the model for
17 the AIMS, so that's agricultural, industrial and
18 mining sector, and it's the emerging technologies
19 in those sectors. So that's a separate model
20 where there are two options, an aggressive option
21 or kind of a reference option. And then we can
22 take an average to make it three options.

23 And then the similar type of approach is
24 used for the BROS, so that's the behavioral retro
25 commissioning and operational savings programs.

1 And these are then the scenarios that we have
2 designed and that we are using in order to run
3 our preliminary numbers. So we've just started
4 working on those.

5 So you can see under scenarios one and
6 two, we have kept the reference case for the AIMS
7 emerging technologies, as well as for the BROS
8 assumptions. Then for the scenarios four and
9 five, we've taken the averages between the
10 reference and aggressive assumptions. And then
11 for our very most optimistic scenario six, we've
12 gone for the aggressive for the AIMS emerging
13 technologies, as well as the behavioral retro
14 commissioning and operational savings programs'
15 assumptions.

16 For the rebate and financing programs,
17 which are that middle bar, we did manipulate the
18 cost effectiveness levels. We worked around the
19 threshold set at one for the goals.

20 So previously the CPUC, in 2017, they had
21 voted on a cost effectiveness threshold of 0.85.
22 And then this cycle, it's higher, at one. So
23 they and we felt comfortable dropping it to 0.85
24 for scenarios four and five, but only down to
25 0.65 rather than 0.5 in scenario six. And folks

1 were also adamant as far as staying with that TRC
2 cost effectiveness metric, so we've used that
3 across all of the scenarios here. For the more
4 conservative scenario, we raised the cost
5 effectiveness threshold to 1.2.

6 Then for incentive levels, we worked
7 around the reference level -- reference cap of 50
8 percent of incremental cost and, based off the
9 sensitivity, worked both to make more
10 conservative estimates, as well as more
11 aggressive estimates.

12 For the marketing, outreach and the
13 financing programs, we kept a reference, right,
14 the default calibrated value for the first three
15 scenarios. And then for scenarios four, five and
16 six, we considered what happened if the IOUs
17 actually put some more effort into marketing and
18 had, therefore, more market penetration.

19 So the low-income study used a different
20 model this time and there was a lot of
21 controversy about that. And so we were strongly
22 encouraged to stay with what was adopted for the
23 goals there. And we kept the same scenario
24 across the board for our six scenarios here.

25 So again, our goal was to work around

1 what the reference -- what the goal was chosen by
2 the IOUs for their program savings, so we made
3 that our mid case. And then we worked to make it
4 more conservative and more aggressive on either
5 side.

6 So we used the same approach then for the
7 POU AAEE scenario design. This is a significant
8 improvement from what we had in the 2017 IEPR
9 cycle. The POUs only submit one case of savings
10 for their program savings and so we call that the
11 reference case. And we had a contractual effort
12 to actually use the model, the CMUA's model, to
13 design more conservative and more optimistic
14 scenarios around that this time, rather than just
15 using one, the one case that's submitted for all
16 of our six scenarios for POU program savings.

17 So we -- the levers we have are an
18 expanded measure list. So we applied expanded
19 measures to the more optimistic scenarios. Then
20 we could change the incentive levels and the
21 amount of outreach and marketing that's done,
22 like for promotional expenditures. We could
23 remove or add behavioral programs. And we could
24 add the early retirement of programs.

25 So the potential savings, so this was

1 done of the largest 16, sorry, POU's, those are
2 the IRP POU's. And then the other 23 small POU's
3 were extrapolated from the potential savings of
4 those 16 IRP POU's. The decision was made for the
5 savings to be uniformly scaled by applying IOU
6 rather than POU re-participation rates and net-
7 to-gross ratios. And the reason for that is
8 because those vary dramatically from one POU to
9 the other and we wanted to have a uniform scale
10 to measure all of this against. This does result
11 in the saving estimates for POU programs being
12 more conservative than they might be otherwise,
13 so let's look at those definitions.

14 We kept the reference case, right, for
15 the measure lists and the early retirement
16 programs and we simply added for the more
17 optimistic scenarios four, five and six. We
18 added new measures and we implemented early
19 retirement programs for the more optimistic
20 scenarios.

21 Then for incentive levels and promotional
22 expenditures, we decremented that by 25 percent
23 for scenarios 1 and 2. And we were able to
24 increase that by 25 percent for the promotional
25 expenditures to get more program participants.

1 Then I mentioned the net-to-gross ratios.
2 I mean, those did vary very much. Some had a
3 net-to-gross ratio of one, others were down by
4 some measures at 0.23, so we wanted something
5 uniform there.

6 And then the re-participation rates were
7 chosen to be the same as the IOUs where the re-
8 participation rates are the same as the
9 participation rates for new customers.

10 So moving on into the codes and standards
11 data stream and the scenario design around that,
12 we did start from the scenario chosen by the CPUC
13 in the IOU Potential and Goals Study because,
14 like I said, they do model a significant amount
15 of codes and standards savings there. So we used
16 that as a benchmark, made that our mid-mid or our
17 scenario three. We have a reference case of
18 compliance, code cycles through 2022 for
19 nonresidential new construction and additions and
20 alterations. And 2022 residential additions and
21 alterations, the assumption is that the savings
22 to be gained by future residential Title 24 code
23 cycles would be small since we're so close to ZNE
24 with the 2019 Title 24 standards that will go
25 into effect next year.

1 And then for Title 20, those are the
2 California Application Standards, we have the
3 reference case, as well as selected standards
4 that are on the books through 2022.

5 And then for the federal standards, same
6 thing, has selected standards here with excluding
7 the 2020 general service LMPS (phonetic) and
8 including the 2026 water source heat pumps.

9 So we do take the -- okay, so I mentioned
10 a lot of this already. All right.

11 So the savings from the Title 24 code
12 cycles are actually not taken then from the PG
13 Study because we have more disaggregated savings
14 and future code cycles available in our Beyond
15 Utility analysis, so that's our Energy Commission
16 Beyond Utility analysis. But we do build around
17 that case, so we, you know, include through 2022
18 for non-res new construction and addition and
19 alterations as far as residential additions and
20 alterations.

21 So we took that reference case for
22 scenarios two through four. There is a
23 difference between the compliance rates that are
24 chosen. So if you look at the line slightly
25 above that, for scenario two you see a 20 percent

1 compliance rate reduction, and that means exactly
2 what it is. So if you had, you know, 85 percent
3 compliance in the reference, then it would be 20
4 percent less in scenario two.

5 So then for scenarios four through six,
6 the compliance rate enhancements, those are
7 actually increasing from whatever the reference
8 case is to either 95 percent for Title 24, so
9 over a six-year period, so starting from the date
10 of implementation and then six years thereafter.
11 And that's supposed to reflect, you know,
12 building departments being more familiar with the
13 standards and builders being more familiar with
14 the standards and the compliance than slowly
15 reaching almost 100 percent.

16 So in addition, for scenarios five and
17 six, we used the same scope, meaning non-res new
18 construction, as well as additions and
19 alterations, and only residential additions and
20 alterations, but this time through the 2025
21 standards. And then for the high plus, or
22 scenario six, we did the same thing, but through
23 the last code cycle that would be implemented in
24 this demand forecast period, so that would be the
25 2028 code cycle that would show first-year

1 savings in 2029. So all of this comes from our
2 Beyond Utility analysis.

3 So for the Federal Appliance Standards,
4 as well as the Title 20 Appliance Standards, so
5 the California Application Standards, those are
6 all -- those are modeled by measure, not, you
7 know, by code cycle, per se. And we utilize both
8 savings reported in the IOU PG Study for those,
9 as well as additional measures analyzed in our
10 Beyond Utility analysis. So those do not have
11 overlap. We choose the measures that are modeled
12 in the PG Study as they are. And then we have
13 additional future code cycle -- I said code
14 cycle -- future measures that might be
15 implemented for the more optimistic scenarios.

16 So if you look at the Title 20 and the
17 Federal Standards, you can see that for scenario
18 one, the most conservative scenario, we don't
19 have any additional measures included beyond
20 those that are currently existing. And so then
21 there wouldn't be anything in the AAEE forecast
22 for that.

23 It's a little bit more conservative for
24 the Federal Standards because there is a backlog
25 there and there's more uncertainty about which

1 measures might actually be adopted and
2 implemented.

3 And then just as for the Title 24, we
4 work around that reference case in scenario three
5 and we add more measures using both the PG Study,
6 as far as we can go with that, and the Beyond
7 Utility workbooks for the scenarios four through
8 six. So I've labeled it as far as where the data
9 is coming from, you know, whether it's a PG Study
10 or Beyond Utility workbooks. That's what the
11 BUWB means.

12 So the measures used from the PG Study,
13 this is important, were analyzed in a total
14 savings mode, so not just the attributable
15 savings due to outreach and advocacy work by the
16 utilities but, actually, the total savings from
17 those measures because we want to capture total
18 statewide savings, not just a percentage thereof.

19 Then the additional appliance measures,
20 as I mentioned, were modeled in the Beyond
21 Utility analysis to yield statewide savings for
22 those.

23 So then for the entire codes and
24 standards savings, we needed to allocate those to
25 each IOU, each of the 16 IRP POUs, and then the

1 smaller POU groupings. So that's very important
2 for these small POU's that are inside the CAISO
3 planning areas. So the small POU's that are in
4 the PG&E TAC, for example, and the small POU's
5 that are in the SCE TAC.

6 Moving on to the remainder of our Beyond
7 Utility analysis, we had a large contractual
8 effort this cycle, this IEPR cycle, or in
9 preparation for this IEPR cycle, if you will, to
10 update and expand the Beyond Utility Program
11 workbooks that were developed in 2017 -- or that
12 were used in 2017. The workbooks vary in level
13 of sophistication but they all have various
14 savings parameters that can be adjusted. So I
15 have a list of those workbooks on the righthand
16 side there, excluding the codes and standards
17 ones that we've already discussed.

18 Staff is able to design scenarios using
19 low, mid and high IEPR economic and demographic
20 drivers. And then inside the workbooks, we can
21 define, we can use various parameters there
22 specific to those programs to define conservative
23 reference or aggressive savings estimates, and
24 that's very particular to those programs. And
25 then we can also have individual weights assigned

1 for each of the Beyond Utility programs. So
2 there's quite a bit of flexibility here for our
3 internal tool.

4 So what we did for the preliminary
5 definitions here for the 2019 AAEE is to break
6 these programs up until buckets as far as how
7 certain we are about the assumptions, or whatever
8 else is used, or the data that's used in those
9 program workbooks.

10 So for the top three, the Prop 39, the
11 DGS energy retrofits and the ECAA financing,
12 we're fairly certain about the savings that we
13 can get and the funding that's going to be
14 available for those programs, so those would be
15 our most certain ones that we might want to then
16 apply to all of our scenarios, all of our six
17 AAEE scenarios.

18 Then we have the next batch where we know
19 that there are going to be savings. We have
20 historical data, you know, or pretty good
21 estimates of what things might look like based
22 off of pilot programs. But there's still some
23 uncertainty, like for one of them, the financing
24 was almost like seed financing initially and then
25 it dropped off dramatically. So we have to

1 decide what -- how many years of average would we
2 take as far as projecting future financing? So
3 it's slightly less certain there than the first
4 three groups.

5 Then we have the next batch that would be
6 based mostly on pilot programs or the savings,
7 you know, is less certain there.

8 And then some of our new workbooks where
9 we're looking at, for example, the agricultural
10 and industrial sectors, where there aren't any
11 existing programs and it's just an estimate of
12 what could exist, so those would go into our more
13 optimistic scenarios.

14 So, you know, like I said here, for the
15 last -- you know, the least certain program
16 workbooks, they're not included in the first five
17 scenarios. They're only included in the sixth
18 scenario. So then as we become more certain we
19 do include a low estimate of savings in scenario
20 five.

21 And then for the top half, we have those
22 included across all of scenarios but we use a
23 mid-case or a reference-type assumption here for
24 the most certain Prop 39 DGS energy retrofit and
25 ECAA financing because those are established

1 programs with historical performance data and
2 expected future funding allocations. And then we
3 use a high version of those savings for the fifth
4 and sixth scenario.

5 We used three different -- the full three
6 variations that we can have for the slightly less
7 certain second batch there, starting with the
8 GGRF Water Energy Grant.

9 So we, again, our goal was to create
10 scenarios that are feasible in some realistic
11 case, building around our reference. Here we
12 don't have a reference; right? This is more
13 based off of what data we have available and how
14 certain we feel about that data. But we do want
15 to have savings cases that range all the way from
16 being rather conservative to being rather
17 optimistic, which is what our sixth scenario is.

18 So this is everything in its full glory.
19 And that's why I wanted to parse that out a
20 little bit. So we did build around here for the
21 IOU program savings. We did build around that
22 reference case that was adopted for the -- by the
23 CPUC for the IOU goals, so that's for the program
24 savings there.

25 Similarly, we built around the reference

1 case for POU program savings here in what was
2 submitted in their 2017 CMUA report.

3 And then we did start with that reference
4 case here for our codes and standards data stream
5 but we took some of that data from another --
6 from our own sources for Title 24, for example,
7 because that was more disaggregated.

8 So then we, of course, have the Beyond
9 Utility, the remaining Beyond Utility programs
10 that we worked with. And we have the four data
11 streams that are all merged for these six AAEE
12 scenarios.

13 So in summary, these AAEE scenarios
14 really are conceptually similar to those
15 implemented in the 2017 IEPR. The main
16 improvement for this IEPR cycle is the analysis
17 of those various energy efficiency savings
18 streams. We've made very certain to avoid any
19 duplication. We filled in some gaps, making sure
20 that we are looking at all of the savings
21 streams, even though not all of the measures are
22 included in every scenario. But everything that
23 was reasonably possible was included in the most
24 optimistic scenario six.

25 So we also have significant software

1 improvements in the tools that we're using to
2 analyze this data and aggregate this data. And
3 it also allows us a greater scenario design
4 capability, first and foremost, reducing manual
5 processing; right? It gives us more time to do
6 other things. And more rapid implementation,
7 which I'm hoping for as I'm cranking out the
8 numbers.

9 So we have an internal deadline for our
10 AAEE hourly projections. So once I have the
11 annual savings, I need to run them through our
12 hourly tool and hand them off to the forecasting
13 staff. And there will be some vetting, and
14 that's why we're still calling these preliminary
15 definitions because, depending on how those
16 numbers come out, we might make some additional
17 tweaks.

18 We are tentatively planning on presenting
19 those results at the DAWG meeting scheduled
20 November 21st, that's the Demand Analysis Working
21 Group. There is a website that is linked. I've
22 heard that sometimes it's hard to find but I can
23 email to you if you need to find that.

24 And then, ultimately, this will be
25 presented December 2nd at the Revised Electricity

1 and Natural Gas Forecast IEPR workshop.

2 So thank you.

3 COMMISSIONER MCALLISTER: Yeah.

4 VICE CHAIR SCOTT: Oh, okay.

5 COMMISSIONER MCALLISTER: So I've gotten
6 multiple briefings on this and understand how
7 detailed this work is. And thanks, Ingrid, for
8 all the great work.

9 I guess, you know, maybe just to put it
10 in a longer term perspective, as we increase and
11 improve our data resources and the tools kind of
12 to manipulate large data sets, you know, and
13 develop load shapes and really look at this more,
14 really more completely, we'll be able to kind of
15 get away from some of these legacy tools and move
16 into something that's really completely adequate
17 for looking at scenarios on the demand side and
18 AAEE and flexibility and kind of integrate these
19 discussions in a way that I think we really have
20 to.

21 So we're a little bit in an interim phase
22 right now, I would say, and really appreciate
23 sort of your, you know, helping keep the vehicle
24 repaired and moving forward while we're trying to
25 sort of, you know, build the new one alongside of

1 it.

2 But anyway, I don't have any specific
3 questions. Thanks a lot.

4 MS. NEUMAN: Thank you.

5 COMMISSIONER MCALLISTER: And also, did
6 we have any blue cards, or is anybody -- no?
7 Okay. I see some smart people in the room but I
8 guess they're just listening.

9 VICE CHAIR SCOTT: Okay. And with that,
10 we will now go into our lunch breaks. We're just
11 a couple minutes ahead. Do we want to hold up
12 lunch until 1:20 or just come on back at 1:30?
13 Okay, 1:30 is great, so we are going to take a
14 lunch break and we will back, ready to start
15 again, at 1:30. See you all then.

16 Thank you to all of our terrific morning
17 presenters.

18 (Off the record 12:20 p.m.)

19 (On the record at 1:33 p.m.)

20 VICE CHAIR SCOTT: Okay, welcome back
21 from lunch, everybody. We are ready to get going
22 with our afternoon session.

23 So let me ask our folks who are going to
24 speak about transportation, forecasting the
25 future of mobility to come on up and we'll go

1 from there.

2 MS. RAITT: It's Elliot Martin.

3 VICE CHAIR SCOTT: Yes. Thank you.

4 MR. MARTIN: Hi. So thank you for having
5 me. Today, I'll be speaking a bit about
6 considerations on VMT and emissions from new
7 mobility systems and other technologies, spanning
8 both technologies that we consider sort of that
9 forefront of shared mobility, also touching a
10 little bit on sort of what technologies are
11 available today for freight, discussing a little
12 bit how we measure VMT, how we would consider to
13 evaluate VMT from the perspective of some systems
14 for TNCs.

15 Also, as part of this presentation, I do
16 want to discuss some examples of TNC integrations
17 with public transit. There's a lot of evaluation
18 and research on sort of how TNCs impact behavior,
19 what they do for public transit ridership. But
20 here are actually a number of pilot programs out
21 there that also are directed integrations and
22 connections with public transit. And those are
23 generally, right now, operating in pilot states,
24 but some of them have actually been operational
25 for quite some time and have very -- you know,

1 are implemented in a variety of different ways,
2 so I'll discuss a few of those.

3 First of all, I'll just introduce what we
4 all know about sort of the new and shared
5 mobility systems today. Shared mobility and what
6 has evolved from it really started in this
7 country with car sharing, which is sort of old
8 enough now to sort of not so much be considered
9 new, but it has evolved. It was the first form.
10 Roundtrip car sharing got established in 1998 in
11 Portland. And then from there it grew nationwide
12 and then, of course, evolved into different forms
13 of mobility, one-way car sharing through a zone
14 such as -- system such as car2go and ReachNow,
15 which have since merged into a single system.
16 And then also peer-to-peer car sharing. And
17 these were sort of the foundations of shared
18 mobility.

19 The quickly evolved into new modes that
20 now are sort of proliferating all over the place.
21 Bike sharing was the next level of evolution in
22 that, starting with station-based bike sharing,
23 which was established, interestingly, in Tulsa as
24 the first system in North America. And then
25 Washington D.C., Minnesota and other systems were

1 sort of prominent early systems that then
2 expanded across the country.

3 Of course, we all know about TNCs, the
4 rise of Uber and Lyft. And basically bringing
5 that shared asset to the consumer has widely
6 proliferated the capacities of shared mobility to
7 regions that otherwise couldn't have it with
8 fixed asset systems, such as car sharing. And so
9 there's been, of course, a huge rise in
10 utilization of those.

11 And then some of the newer forms of
12 microtransit, micromobility, are the next phases
13 of evolution, not only in mode but in
14 application. So microtransit operates very
15 similarly, in some ways, to TNCs, but there are
16 some caveats. First of all, microtransit usually
17 defines a zone of operation where the start and
18 end really can't leave that zone. The driver and
19 the consumer both know that. And then there's
20 also some other differences in terms of
21 expectations of occupancy, and then also vehicle
22 types that can be implemented. And I'll talk a
23 bit about a few of those projects that are on the
24 ground today.

25 And, of course, micromobility, the latest

1 proliferation of e-scooters and e-bikes, this is
2 the sort of evolution of dockless bike sharing
3 that now has proliferated across many different
4 systems. And there, of course, natural mobility
5 and VMT implications from those.

6 And let's not forget public transit which
7 is generally the system that we all want these
8 systems to link to and operate efficiently with.
9 And there are -- there's a lot of initiatives out
10 there to try and advance that because it does
11 take agency and industry coordination.

12 I do want to talk a bit, since this is
13 about VMT, sort of what are the trends in VMT or
14 what are we seeing in VMT at a national level.
15 And then also to speak to about how we actually
16 measure VMT. So these are the trends that we
17 would see from the TVT (phonetic) reports from
18 the FHWA. This is nationwide trends in VMT. You
19 can see that in the late 20th century we had a
20 pretty linear growth in VMT. And then when we
21 hit the great recession, we had this decline.
22 And then you can see sort of a flatlining of that
23 trend. This is on the right here with the red
24 line. This is growth in aggregate VMT as it is
25 measured today.

1 This flattening of VMT from peak -- from
2 sort of point to point is the longest stagnation
3 in VMT that has ever been observed in this
4 series, which goes back further than this trend
5 line to 1971. It's never been this flat for this
6 long. This was also a flattening that also
7 occurred during an economic recovery.

8 So those two points lead us to sort of
9 understand that this -- we may be entering into a
10 period of different dynamics of VMT growth, where
11 VMT growth is not necessarily coupled with the
12 same level of economic activity that we saw in
13 the late 20th century, that there are some
14 distinctions here that could be occurring.

15 Now that said, we are at peak VMT. VMT
16 has never, as it is measured in the series, has
17 never been higher. It has since picked up. And
18 when we look at VMT per person at the U.S. level,
19 and this is just taking what we measure from this
20 series and then dividing by estimates of the
21 population of the U.S. Census, to be clear as to
22 how this calculated, we do see that we're still
23 not at what we had as far as peak VMT per capita
24 at the nationwide level.

25 Now I do want to speak a little bit about

1 the measure of this because, of course, our
2 measure of VMT is a bit imperfect. We use the
3 Highway Performance Measure System. And then we
4 use counts from sensors across the country to
5 basically track the wiggles of these movements.
6 So we get a month-to-month measure of VMT, which
7 is a 12-month look back, of the summation of VMT
8 from month to month. So, for example, in
9 September, we would add up all the way going back
10 to October the previous year and then we would
11 move that window down and sum up our monthly
12 measures to get these values. That is informed
13 by counts that come from sensors and detectors.

14 And then it's also updated frequently by
15 what is our Highway Performance Measure System
16 that the State of California and every other
17 state also reports to. These reports are
18 basically sort of average or average values of
19 what is the overall traffic level that is on
20 particular road links.

21 And I make this point to go into this
22 detail to really make the point that VMT measure
23 is somewhat of an imperfect science that we have.
24 And so we talk a lot about VMT but there still is
25 the need for us to understand VMT and to even get

1 better data on how this is broken out. This is
2 aggregate VMT. So when we're looking a measures,
3 you know, counts from trucks and counts from cars
4 are all added up into sort of this overall
5 measure. And there is some level of
6 classification to this. But nonetheless, we are
7 drawing estimates of what this VMT is. And this
8 is at least a continuous series of estimates that
9 we can sort of make comparative measures against.

10 So how will mobility as a service change
11 VMT? Well, of course, there are the obvious
12 things. The travel behavior changes in public
13 transit, walking, bicycling and other shared
14 mobility shared in active modes and personal
15 vehicle driving will all change as a result of
16 these system because it's a new mode. It's
17 effectively a new choice within your choice set
18 that you can now take, so it will draw from
19 everything. But it may also make you -- cause
20 you to make other decisions or use other
21 different types of fuels that will also impact
22 emissions, and then also impact your decisions
23 with vehicle ownership.

24 And that's the second point here.

25 Changes in vehicle ownership is very, very

1 important for VMT. Because once you lock in that
2 vehicle ownership, you are, of course, committed,
3 effectively, to driving that vehicle for some
4 period of time, given the fact that you're lower
5 -- you have this now low marginal cost of driving
6 that you have available to you. So preventing
7 vehicle ownership, and I'll talk a bit about that
8 in a minute, is a very, very important effect of
9 these types of systems. You may see a bunch of
10 changes. But we also have to measure is what
11 would have happened in this world where these
12 systems didn't exist? What kind of assets would
13 you have chosen to own?

14 There are some changes in fuel type. Of
15 course, if some of these systems are electric or
16 are using cleaner fuels, that's naturally an
17 advantage, even though we may not perceive any
18 difference in VMT.

19 We also have to be considerate of system
20 vehicle activity, that is how many vehicle miles
21 are being put on the road. For car sharing
22 systems, it's just the utilization that we
23 observe. But, of course, for TNCs there's all
24 these -- there's all this circulating, there's
25 what is the fetching of the passenger and the

1 searching for the passengers, and even the travel
2 to the market, and I'll speak to that in a bit.

3 And then there's also system logistical
4 operations. This mostly applies to sort of the
5 micromobility systems and bike sharing systems.
6 There's a fair amount of energy use that's
7 associated with rebalancing those systems with
8 charging those vehicles. So those are also other
9 considerations that we need to be able to measure
10 in order to evaluate, what are these systems
11 going to do to overall VMT?

12 I'd like to speak, too, a bit about sort
13 of the main travel behavior components of TNC-VMT
14 change, that is what does -- what do TNCs do to
15 reduce VMT? What would we measure and consider
16 to be a reduction as a result of the use of TNCs?

17 Well, of course, there is the change in
18 personal vehicle miles traveled. If someone
19 takes a TNC to a particular location and said
20 they would have driven their own personal
21 vehicle, then we don't want to just count that
22 VMT as being part of TNCs because it was in a
23 TNC. There is, of course, the extra circulating
24 that does occur as a result. But if that trip
25 would have occurred in an automobile anyway, then

1 we're just counting it because it's in a TNC. We
2 do want to consider the fact that there may be
3 some personal vehicle substitution there. And
4 that at least provides sort of somewhat of a
5 credit in sort of what we're evaluating with
6 respect to VMT change.

7 Then there are some other big effects,
8 big personal vehicle shedding, which is the act
9 of getting rid of a car. This car is too
10 expensive. It is now retired. It is something
11 that I don't need anymore because I have access
12 to this shared mobility asset. We might see this
13 in environments where, you know, other systems
14 really aren't that accessible, and so TNCs bring
15 that shared mobility; this is expensive to own,
16 it's expensive to maintain, and I do want to get
17 rid of it.

18 Back when shared mobility was a little
19 bit younger we saw a lot of this. And we see
20 some of this still now today but we see a lot
21 less because people are growing up in these
22 systems, they're already there. When the people
23 were there and the systems came in, that's were a
24 lot of the shedding -- when a lot of the shedding
25 happened because people made this realization

1 that they could now -- some people could adjust
2 their assets. But we will see it on the order
3 of, you know, two to five percent of a population
4 may say that they shed a vehicle in our surveys.
5 And they'll say, yes, I shed a vehicle and it was
6 because of this particular system.

7 We also note personal vehicle
8 suppression. This is a very, very important
9 effect. It is the act of not buying a vehicle
10 because the system is available. Just as we want
11 to measure, what do people do and what are people
12 doing that's different, we also want to measure,
13 what do they not do? If you don't buy a vehicle
14 then you are not going to drive that vehicle
15 4,000 to 5,000 miles per year. That's the average
16 of what we see. We ask, well, how many miles
17 would you have driven this vehicle if you hadn't
18 purchased it? Well, it comes to about 4,000 to
19 5,000 miles a year. So, expectedly, it's not a
20 lot. Of course, we know that that's less than
21 the average driving than the typical American
22 does. But for a vehicle that is suppressed that
23 might be within reasonable expectations.

24 But if you're -- if you find that it's
25 just not worth it to go out and put that asset

1 out there -- to put out the capital outlay to get
2 your personal vehicle, to acquire a personal
3 vehicle, then you may -- you don't transition to
4 all of those lifestyle changes that end up to
5 increasing VMT. We do want to be able to measure
6 that hypothetical difference as to what would
7 have happened in the absence of this, well,
8 because this is a relatively easy effect to do.
9 It's not doing something. Even personal vehicle
10 shedding requires some initiative by the consumer
11 to get rid of a car, which can be, in itself,
12 sort of a chore. But you just have to not do
13 something and you get about the same amount of
14 impact on VMT. And that's something that is
15 important to realize.

16 And then finally there -- it's similar to
17 sort of the change in personal vehicle miles
18 traveled, we have the change in other shared use
19 mode. If we see somebody driving in a TNC but
20 they would have taken that trip in a taxi, then
21 we're just counting it again because it's in a
22 TNC. And so we do want to make that
23 consideration that some of this substitution
24 would have been in a personal vehicle driving
25 anyway.

1 All of these are components that we
2 would measure for VMT decline. But, of course,
3 there are these major components of VMT increase.
4 And this is basically the vehicle miles traveled
5 that we have the system do. They're broken out
6 into about -- into four different phases. And I
7 think anyone who's taken a TNC is familiar with
8 this. Period zero, which is sort of the travel
9 of -- travel to the passenger market, there has
10 been sort of anecdotal and even survey-based
11 evidence that shows that, you know, some drivers,
12 they drive some distance to get to their market
13 and they do that commute pretty regularly, so
14 that travel should be considered. It's actually
15 not measured by the app so it has to be. By any
16 sort of activity data, the operator-side apps
17 aren't measuring that, so we have to measure that
18 by sort of surveys and other methods.

19 And then there are other -- and then from
20 period one to period two to period three, period
21 one being open to passengers, looking for
22 passengers, period two being fetching the
23 passengers, going to them, being assigned, and
24 period three all are recorded by activity data,
25 if we can get it.

1 One thing about period one is that
2 this -- you may have heard about the issue of
3 double counting. So there are, of course you
4 know that there are different operators that --
5 or drivers that will be driving with both Uber
6 and Lyft open at the same time, so both of those
7 operators are clocking those miles. So we want
8 to have some estimate as to what is that degree
9 of double counting if we're taking that
10 information and putting it all together to
11 assess, what is this relative level of driving?
12 We don't know.

13 We've been doing a study on this impact
14 on three markets. We've had this reviewed by
15 external reviewers and reviewed by the operators,
16 and we're releasing it soon, to evaluate sort of
17 what we saw with respect to these impacts in
18 three different markets, that is San Francisco,
19 Los Angeles, and Washington D.C. And really,
20 it's a function of the net effectiveness. It's
21 that driving that we see sort of as the system is
22 operating against all of these other behavioral
23 changes that we observe.

24 So with that, we also want to ask
25 questions about how can TNCs work with and

1 complement transit? And are there case studies?

2 Numerous studies out there show that TNCs
3 draw from public transit. That's a very, very
4 expected result but it is something that raises a
5 lot of concern in policy because, of course, we
6 don't want to be replacing our public transit use
7 with personal vehicle miles traveled. That's
8 against our general goals from a policy
9 perspective.

10 But there are examples of TNCs
11 complementing transit through natural activities.
12 So there are just people generally using it
13 access transit. But there's also other
14 supportive projects that have been in
15 collaboration with public agencies. And building
16 on lessons learned from these studies, TNCs,
17 microtransit and other forms of shared mobility
18 may be integrate and support public transit
19 systems better.

20 One of the big examples of this I'll talk
21 about is a project that we're evaluating an FTA
22 Mobility on Demand MOD Sandbox. These are
23 projects that involve testing new innovations
24 with public transit agencies in carpooling,
25 public transit connections, there's trip planning

1 which I won't speak to, TNC and microtransit
2 integrations, as well as other innovations. I'll
3 speak mostly to the TNC and microtransit
4 integrations that have occurred, as well as an
5 interesting project more locally in the Bay Area
6 on carpooling.

7 One example is sort of this first
8 mile/last mile project with DART where DART, of
9 course, is the rail system in Dallas, and they
10 have regions that are very, very low density in
11 sort of North Plano. And they have these systems
12 that sort of circulate with the GoLink vans that
13 circulate towards the -- at the end of these
14 lines in Plano, Texas. And so I've been to
15 Plano, I took the system, and you basically can
16 plan out your trip while you're on the rail line,
17 it takes about 20 minutes to get out there, and
18 you can plan your trip. And then the vehicle
19 will arrive and it will take you to anywhere you
20 want to go within the Plano region. So the
21 information systems are there and implementable
22 on the transit side to make that work.

23 Now that's not a TNC. But this system
24 also allows -- this is, of course, a wheelchair
25 accessible vehicle, as you can see, but the

1 system also allows you to sort of call an Uber
2 pool. And as long as you're connecting to the
3 DART rail transit, you get a special rate
4 discounted for making that connection using a
5 TNC, and that's a TNC program thing. So this
6 project is under evaluation via the MOD Sandbox.

7 Another project that's also evaluated
8 within the Sandbox is the Pierce Transit Project.
9 And this in partnership with Lyft to do a very
10 similar effects in different zones around the
11 Tacoma region where Lyft can basically provide
12 first-mile access -- first mile/last mile access
13 to transit within the zones that are seen here at
14 a special rate. And it's objectives are, of
15 course, to reduce VMT, but also to reduce demand
16 on parking at their impacted transit stations.

17 A big project that's both in California
18 and in, also, the Seattle area is the L.A. to
19 Puget Sound First Mile/Last Mile Project. And
20 this in partnership with a microtransit operator
21 called Via, which is -- which defines specific
22 zones, and you can see the zones here on the
23 maps. The map on the left is the Seattle region.
24 And then the map on the right is one section of
25 the L.A. Metro system.

1 So what microtransit does, as I was
2 mentioning, is it defines these zones that you
3 can connect -- you can call up your Via, which
4 looks, in this case, in the Los Angeles case, it
5 looks like a TNC. It basically is, you know,
6 very similar. It's the same vehicle that could
7 be driven in a TNC system. And you can call up
8 Via and you can anywhere with this region. And
9 if you're connecting to or from the transit
10 system, then the ride is heavily discounted and,
11 in some cases, free.

12 So this, you know, an example of how
13 these types of formations of transit integration
14 with TNCs and microtransit operators are starting
15 to form and are starting to be implemented and
16 practiced. There is, of course, front-end and
17 back-end integration that is required for these
18 connections but they are in practice and being
19 tested right now.

20 I want to speak about the BART project
21 because the BART project, we just recently
22 submitted our evaluation for the -- to the USDOT
23 and we've gotten comments back on this about this
24 project, to not forget carpooling. So carpooling
25 was a project, a MOD Sandbox, that used better

1 technology to match people beforehand. One of
2 the biggest challenges of carpooling is that if,
3 you know, your carpool friend doesn't show up or
4 isn't available that day, then you can't get into
5 the HOV lane, or you have to schedule with them,
6 you know, every day very, very rigorously, and
7 that's hard for a lot of people. That's very
8 difficult to do.

9 So this particular project implemented a
10 matching system that allowed you to change that
11 day by day. And the person that you would get
12 matched with would change day by day. And you
13 would carpool to a particular BART station. Most
14 of them were at the end, so like Dublin-
15 Pleasanton, the Antioch Station, the Warm Springs
16 Fremont Station was a big station, as well, where
17 you would carpool and travel to the station and
18 you would get specialized parking the permit lot.
19 So there was carpooling lots, they had legacy
20 carpooling lots, but then you would go to the --
21 you'd get special parking in the permit lots and
22 then you could park there, which that parking was
23 off limits to carpoolers before. It helped with
24 enforcement. It helped with, also, access to
25 transit.

1 And based on the substitution -- now, of
2 course, there's mode substitution that has to be
3 considered here. So we have people who would have
4 driven and then -- anyway. And so matching those
5 two people puts two of those people into a single
6 car. That's a VMT reduction.

7 Of course, we do have people who would
8 have taken transit and now they're in a
9 carpooling. Well, that's really helping much.
10 It's not hurting because if the other person was
11 going to drive anyway then, you know, it's almost
12 a near-zero impact.

13 And then we have the nightmare scenario
14 where we have two people who were going to
15 transit say, hey, now we can carpool and let's
16 match and let's go. That a VMT increase. We
17 want to be able to measure sort of the balance of
18 those effects. We did evaluate the balance of
19 those effects and, generally, I have to say that
20 they're positive.

21 So this is something where, you know, we
22 don't want to forget the practice of carpooling
23 and the connections to transit because this
24 project did have a considerable amount of scale.
25 And most of the activity was at the Dublin-

1 Pleasanton Bart Station. But we're talking on
2 the order of, you know, thousands of trips.

3 I also want to point out a more local
4 project that is presently underway is Via in West
5 Sacramento. This is -- as you can see, there's a
6 picture of the Via van. This is a microtransit
7 operator that circulates and can be called
8 anywhere within the West Sacramento Region and it
9 can deliver you almost anywhere with the West
10 Sacramento Region. It's near point-to-point.
11 It's not quite point-to-point, unless there's a
12 special request for point-to-point access if you
13 have a specific disability. And it would run for
14 a certain time period. It would connect you to
15 transit.

16 It would not leave the City of West
17 Sacramento, and that was one big thing that our
18 surveys sort of pointed it out, people wanted it
19 to go to, you know, key points in Sacramento. I
20 believe that's an innovation that is being
21 considered. But there are institutional issues
22 with that. That's a different transit agency's
23 operating area. And so there are things that
24 need to be considered in coordination.

25 And this is where these private operators

1 and these agencies collaborate to work out some
2 of those institutional issues, and then also work
3 out some of the technical issues, such as people
4 being able to access -- people being able to
5 report, hey, I can't get to this point-to-point
6 location because I'm in a wheelchair. And those
7 types of things are very, very important to
8 consider and they need to be worked out in pilot
9 projects.

10 So this project is also very local and
11 also underway. And you can notice here that just
12 the vehicle type is different. So microtransit
13 in the L.A. capacity was really, you know, a, you
14 know, a Prius. This is a dedicated van of a
15 specific type with a higher occupancy. And there
16 is some expectation with microtransit that you
17 are going to be circulating in a vehicle with a
18 bit more higher occupancy.

19 I also want to point out another project
20 down in Southern California, GoMonrovia, which is
21 TNC with public transit through pricing. This is
22 basically dedicated pricing points that are
23 defined based on the ride, based on your
24 destination, based on whether you're pooling and
25 whether you are connecting to transit. So if you

1 travel anywhere within the GoMonrovia region,
2 then -- and you just use a regular sort of -- if
3 you just use a regular sort of classic ride, then
4 you go at flat rate of \$5.00. If it's a shared
5 ride it's \$2.50. These are heavily discounted.
6 And if it's a shared ride to one of a key transit
7 point, such as the Metro Line, then that's \$0.50.

8 So this is a case of where just the
9 integration of public transit is a matter of
10 specialized pricing for particular zones that are
11 defined. And the GoMonrovia is a good example is
12 a good example of that type of integration that
13 is being implemented today.

14 There are some evidence of broader
15 impacts that I'll just speak to relatively
16 briefly that we've evaluated in the context of
17 shedding and suppression and how they've been
18 translated to broader system impacts.

19 We do see evidence from one-way car
20 sharing, so there are findings that, you know, we
21 had. We found that between two to five percent
22 of members, we studied five different cities,
23 evaluated changes in behavior through surveys, we
24 found that between two to five percent of members
25 sold a vehicle due to car sharing. And these are

1 questions that if we don't just to look to say,
2 did you get rid of a vehicle, did you get rid of
3 a vehicle and was it because of car sharing?

4 And when we ask these questions nowadays
5 we really ask, you know, if this thing wasn't
6 around would you have gotten this -- would you
7 have still gotten rid of this vehicle or would
8 you probably still have it? And they have -- and
9 multiple questions have to be answered for us to
10 sort of validate that that's a shed -- that
11 that's, in fact, a shed vehicle. We want that
12 attribution to the system to be able to count it.

13 We also found that seven to ten percent,
14 depending on the city, of respondents did not
15 acquire a vehicle due to car2go, so that's an
16 important measure as well. That's that personal
17 vehicle suppression component that I'm talking
18 about. And it is always going to be higher than
19 the shedding because it is, in fact, an impact
20 that, again, is easier to do. It's about not
21 doing something versus getting rid of a car.

22 And we did estimate that there were about
23 28,000 vehicles that, when you account for
24 shedding and when you account for suppression,
25 were removed across these five cities. And the

1 five cities, just for completeness, were
2 Washington D.C., San Diego, Seattle, Vancouver
3 and Calgary. So we did sort of a North American
4 study, as listed here. We did do sort of a
5 percentage of reduction in VMT by car2go
6 households. This was done by taking the before
7 measures of VMT, the reported VMT, and then their
8 after VMT as accounting for suppression and for
9 shedding.

10 We've also seen that there are ways in
11 which these systems can be manipulated based on
12 incentives to do certain things.

13 So there was an all-electric one-way car
14 sharing system in San Diego that operated for
15 several years. And it was basically zonal. But
16 they had a huge problem in the sense that they
17 could not charge these vehicles locally. There
18 wasn't enough charging infrastructure to charge
19 vehicles in the city network. They were also,
20 actually, a little bit reluctant to take up that
21 charging and then to just keep it, you know, hold
22 it or occupy it for long periods of time to, I
23 guess, annoy or anger private vehicle owners who
24 wanted to charge as well.

25 So they had an incentive program that

1 allowed people to basically get a bit of a credit
2 from taking that vehicle from somewhere in the
3 zone and then bringing it down into the central
4 part of the zone to where they could then easily
5 access it and bring it to their charging depot.
6 And you can see here in this graph the charging
7 incentive period. That's the lines that I've
8 marked out. And where that green line is
9 indicates the departure from natural activities.

10 So when we want to evaluate what are
11 these systems doing in terms of incentive, we do
12 need to take into account the fact that there's
13 some level of natural activity that's occurring,
14 but when we implement the pricing system, we're
15 going to see a change in that. And that
16 difference is the marginal impact of that system.
17 It's a percentage of people who get their
18 behavior adjusted. We did see that this credit,
19 which was about ten minutes of driving time
20 credit that was applied to their account, did
21 make a move. And it allowed people to bring --
22 or enticed people to bring these vehicles closer.
23 So pricing can be done to change how the system
24 operates and improve its efficiency.

25 There's also questions about how will

1 micromobility impact VMT and, if so, how? Will
2 it impact VMT? And micromobility travels may
3 reduce their VMT through mode substitution. It
4 might be pretty intuitive that, of course, if
5 you're not -- whatever you're doing, if you're
6 now on a scooter, you're not adding to VMT. Even
7 if your shift is from a bus to a scooter, that's
8 not the VMT that we're necessarily interested in.

9 But when we look at the system from the
10 perspective of trip substitution we have to
11 understand that those trip substitutions are
12 generally short. So whatever the substitution
13 is, whatever that trip is, it's going to be a
14 mile, maybe a couple miles. With EVs, of course,
15 the range is a little bit longer, but each trip
16 is going to be relatively short. And EV-based
17 systems require energy input. And there is a
18 whole lot of logistics that are involved in
19 rebalancing those systems that is important to
20 consider.

21 This is the one -- this -- I'm not sure
22 whether this is necessarily going to bear out at
23 all in the data for the evaluations that we're
24 doing and that others are doing. But this is the
25 one system where I could think it would be

1 possible where VMT might fall and yet energy
2 consumption doesn't change that much because the
3 VMT is reduced but yet there's these larger
4 vehicles that are aggregating and circulating
5 these vehicles around. They consume a lot more
6 energy. And then, of course, there's the energy
7 input of plugging it in.

8 So generally speaking, VMT changes and
9 energy changes are correlated. Micromobility may
10 be one of the modes that's more exceptional in
11 that it does -- it has more of a split between
12 the impact on VMT and energy consumption.

13 There is a consideration of mode shift
14 here. People are shifting from public transit to
15 bicycling or to one of these micromobility
16 systems. We have to understand what's being
17 substituted -- is it a TNC trip, a personal
18 vehicle trip, a personal or taxi trip? -- to
19 understand sort of what those energy impacts are.
20 We've done some calculations as to what that
21 balance of mode shift needs to be and it needs to
22 be a little bit north of ten percent as a mode
23 shift to sort of, at least from the calculations
24 that we had done, with one particular -- with one
25 system.

1 So I don't want to make that too much of
2 a generalized conclusion but I do want to say
3 that it's not something where it's like, okay,
4 well, you know, at least from our findings, it
5 wasn't like it was just two percent. It was more
6 than that was required to kind of get some level
7 of balance between the energy consumption that we
8 were seeing from logistical operations.

9 Really briefly here, these impacts are
10 not the same, depending on where you are across
11 the region. So this is an example of mode shift
12 by where you are in Washington D.C. The red is
13 sort of shift away from rail and the green is
14 shift towards rail. It's hard to see, I can
15 realize now, from this graph but there's a lot of
16 red in Washington D.C. and there's a lot of red
17 in downtown Washington D.C. That's where you're
18 going to see a lot of mode shift away from
19 transit.

20 On the periphery of Washington, we see
21 relatively more access to transit, relatively
22 more people saying, hey, I'm using rail more
23 because of public transit -- I'm sorry, because
24 of bike sharing.

25 And in Minneapolis, we saw a very

1 interesting result, is that most of the shift as
2 a result of bike sharing was for transit, was to
3 transit. And that, we hypothesize, is that you
4 had a lower density environment. You also had a
5 less intensive transit system, so there were just
6 less ways in which you could substitute public
7 transit using bike sharing. So in this city, in
8 this particular environment, we saw that public
9 transit was actually increasing as a result of
10 the bike sharing system.

11 And we also saw similar result, actually,
12 at a relatively small scale in Salt Lake City.

13 I'll just speak really briefly about,
14 also, trucks because trends in diesel fuel, what
15 do we do about trucks? This is what we've seen
16 in trends in taxable diesel fuel in California.
17 What's nice is maybe it's not increasing but it's
18 certainly not decreasing. We do see that sort of
19 seasonal pattern associated with agricultural
20 movement and other summer movement that's
21 occurring with your moving average. But this is
22 the trend of what we see in diesel fuel and heavy
23 trucks deal with diesel fuel.

24 You know, perhaps we're excited about
25 electrification of these heavy-duty trucks but

1 there's a lot of barriers to that, of course not
2 just technological barriers but regulatory
3 barriers. There's size and weight regulations
4 that these trucks can only be so heavy. And so
5 batteries naturally add to that weight and,
6 therefore, lower the amount of stuff and amount
7 of tonnage that can be carried by these trucks.
8 So perhaps technological innovations will
9 overcome that or there will be still the ability
10 for these trucks to operate. I'm optimistic to
11 that. But what can we do to address some of
12 these?

13 Well, there is the idling of
14 electrification. And this is a technology that
15 has been in place for well over a decade, is
16 truck stop electrification. And it has rolled
17 out into several locations with California.

18 This picture above is a picture I took at
19 Lodi, the Flying J in Lodi, of the shore power.
20 One thing I did notice at the time was that it
21 wasn't being used. And many of those pedestals,
22 quite honestly, were not being used. There is a
23 limitation here in the sense that trucks don't
24 seem to very often connect to this pedestal to
25 electrify their idling. Now that would displace

1 hours and hours, sometimes days, because
2 sometimes these truckers, they park there for
3 days, where they're idling their vehicles. It's
4 very, very hot there during the summer, of
5 course, we all know. And they are idling during
6 the day and night to power their internal
7 amenities.

8 That component of idling, which consumes
9 a lot of fuel, is something that can be
10 electrified today with very, very limited
11 modifications to trucks and very, very simple to
12 acquire equipment. But utilization and
13 infrastructure is more limited. These pedestals
14 are only on the outside of the lot. They're not
15 in the middle, so not even every truck, even if
16 they want to use electrification, they've got to
17 get to the right spot to get it. This is
18 something that's very doable today, independent
19 of whether we can really facilitate a larger
20 shift in fuel use by trucks.

21 And then, of course, there is
22 substitution by TNC -- by CNG, which is possible
23 for long haul but, of course, it forces serious
24 capital infrastructure costs. That's story
25 really hasn't changed.

1 This is a map of truck parking that are
2 actually in alternative fuels that we keep track
3 of. It's a website called American Truck
4 Parking. And truckers can search on it to sort
5 of find truck parking. But one of the things
6 that we added to this was alternative fuel
7 stations, specifically for trucks that could be
8 accessed 24 hours a day. Where are those
9 stations?

10 We see that California is actually,
11 through PG&E stations and other stations for
12 school districts and such, has actually got a
13 pretty good network of locations where you can
14 fill up with CNGs, CNG, with our truck any truck.
15 But then, of course, you see that big gap in
16 Nevada, and there's other gaps in the other parts
17 of the country that limit the application of this
18 for sort of long-haul trucks. So it's still very
19 much a prospect for local trucks within the state
20 but it's also still -- but it is something that,
21 at least within the state, is -- the
22 infrastructure does exist for this.

23 And there are capital cost considerations
24 for CNG vehicles as well. The trucks -- the
25 freight system is sort of very, very focused on

1 generalized costs. So those are important
2 considerations but these are things that we can
3 do contemporarily to potentially take some edge
4 off of diesel fuel consumption.

5 So with that, I will wrap up and ask
6 for -- answer any questions.

7 VICE CHAIR SCOTT: Great. This is very,
8 very thorough and very interesting.

9 A question I have for you, so you know,
10 we're looking at how we start really capturing
11 some of these trends within our forecasting. And
12 right now they are -- I feel like they're not --
13 they're not big enough that they show up in
14 moving the needle.

15 Do you have a sense of how, I don't know,
16 how much more shift we need within TNCs or how
17 much more shift we need of people out of cars and
18 more into transit for us to kind of start seeing
19 that show up?

20 MR. MARTIN: I mean, the first thing I
21 think that we're going to see, and we might be
22 seeing it also in VMT, is lack of growth that
23 would have otherwise occurred. That's going to
24 be the first effect. So we're going to see
25 these, you know, these trend lines go up, but

1 they may not be going up as they would have gone
2 up five years ago or ten years ago. That's the
3 first thing that we want to look for, it's that
4 VMT that did not happen.

5 Then we would look for the shift that,
6 you know, would result from reductions, broader
7 shedding, broader abilities of people to say
8 this, you know, the personal vehicle asset is too
9 expensive in this environment, I don't need to
10 carry it anymore, this is much easier to do. I
11 don't -- and that's going to be a question of,
12 you know, system operations, it's going to be a
13 question of pricing. Do TNC pricing and other
14 microtransit really provide sort of a cost
15 effective alternative for that? But we may be
16 seeing -- I mean in the growth rates of VMT, we
17 have seen sort of a kink in how those are
18 growing.

19 Another thing that I would look to also
20 to get a sense of that is vehicle registrations.
21 And we do see vehicle registrations, particularly
22 in the County of San Francisco, is on a decline.
23 And vehicle registrations on a per capita basis
24 are on a decline and they've been declining since
25 about 2016. Now that's not a very long period

1 but that's sort of in line with when TNCs really
2 kind of exploded on the scene to become sort of
3 part of the transportation nomenclature and sort
4 of widely disseminated everywhere.

5 So you know, those differentiations in
6 growth rate, I mean, I don't have a sense as to,
7 okay, it's going to be ten percent adoption. And
8 what does adoption mean? I mean, adoption from a
9 TNC perspective, there's a frequency of use.
10 When we do our studies, we balance frequency of
11 use. So we know our surveys have people who are
12 going to be more likely to be using it more. And
13 if you're more likely to be using your system
14 more, you're more likely to have an effect on it.
15 You're more likely to have a suppression effect.
16 So we do want to balance and re-weight our
17 samples with the population data on frequency of
18 use to more reflect what the population is
19 saying.

20 So I think that the first thing to look
21 for is that sort of change in growth rates which
22 we, again, may be seeing, and looking for sort of
23 what are the harbingers of that? I think
24 registrations is an important harbinger, also,
25 vehicle sales which have -- which peaked in 2016

1 and have leveled off a little bit, not much to
2 sort of -- I think it's partially a function of
3 saturation. Because when you look at the broader
4 time series of vehicle sales, there are these
5 periods of plateau that do occur when the market
6 gets saturated, even in good economic times. And
7 that has occurred right now.

8 COMMISSIONER MCALLISTER: I guess I'm
9 wondering what the conversation is at the RTOs
10 and MPOs on this. You know, they channel
11 Caltrans money. They do local planning. They
12 are really a key factor in all this --

13 MR. MARTIN: Yeah.

14 COMMISSIONER MCALLISTER: -- in directing
15 policy at the regional level and implementation,
16 you know?

17 MR. MARTIN: Um-hmm.

18 COMMISSIONER MCALLISTER: And are you
19 finding that they are, you know, really engaged
20 with this as part of their climate planning
21 efforts, or they're looking for solutions or, you
22 know, probably variable? I don't know. Are
23 they -- what's their role in all this?

24 MR. MARTIN: You know, I don't know if I
25 could comment on what the MPOs are saying, I

1 mean, because that conversation with the MPOs
2 that are happening I'm not necessarily directly
3 connected to.

4 I will say that from what I've seen from
5 projects that are implemented, and I mean, for
6 example, the Scoop to Bart Project was one in
7 which MTC was involved in. So they -- that was a
8 project where you had MPO involvement and MPO
9 consideration for and support in doing that
10 project.

11 So I think that for some of these
12 projects, you know, they're still looking at this
13 from the pilot phase. I don't know, and maybe, I
14 don't know if anybody's thinking about sort of
15 any sort of broad scale of implementation. The
16 projects that mentioned, you know, they're still
17 experimental. The bugs are still being worked
18 out as far as how these zones will work. You
19 know, will they see, you know, general mode shift
20 as a result of that? Will there be enough
21 utilization to justify continuation? That's the
22 stage at which the development is in. And I
23 don't know whether that has resulted in other
24 conversations within MPOs that I wouldn't be
25 privy to.

1 VICE CHAIR SCOTT: All right. Yeah.

2 Thank you very much. We appreciate you being
3 here today.

4 MR. MARTIN: Sure. Thank you.

5 VICE CHAIR SCOTT: We will go to our next
6 presentation which is by Caitlin Miller.

7 MS. MILLER: Okay. Great. Good
8 afternoon. My name is Caitlin Miller and I work
9 at the California Air Resources Board in the
10 Sustainable Transportation and Communities
11 Division. And today, I'll share with you a bit
12 about how the state's climate policies interact
13 with land use and transportation and what CARB is
14 working on in that space.

15 So one of CARB's responsibilities is to
16 identify how the state will address climate
17 change through our Scoping Plan. The plan
18 identifies how to reduce emissions from multiple
19 sectors with transportation emissions serving as
20 the largest source of these emissions. Not shown
21 on this graph but were 50 percent of the
22 emissions account for energy from transportation
23 fuels, so that would be kind of transportation
24 across sectors.

25 CARB's 2030 Scoping Plan identifies

1 reduction in growth of single-occupancy vehicle
2 travel, as necessary, to achieve the statewide
3 greenhouse gas emissions target of 40 percent
4 below 1990 levels by 2030. Even more will be
5 needed to achieve our 2045 carbon neutrality
6 goal.

7 So how do we address transportation
8 emissions?

9 This graphic illustrates many ways the
10 Scoping Plan works to address transportation
11 emissions through vehicles, fuels and activities.
12 Some of these action include zero-emission
13 vehicles, walkable and bikeable communities, land
14 conservation, farmland protection, sustainable
15 freight, affordable transit-oriented housing,
16 infill development. And collectively, all of
17 these actions work toward addressing emissions in
18 communities. Actions for both light- and heavy-
19 duty vehicles are needed to help address
20 increasingly stringent air quality standards.

21 The two areas with the most critical air
22 quality challenges include the South Coast Region
23 and the San Joaquin Valley. The strategy to
24 address these standards includes further
25 reduction in growth of VMT, vehicle miles

1 traveled, which we've been talking about, and
2 through SB 375 and other complimentary efforts to
3 reduce tailpipe emissions, as well as emissions
4 from facilities that produce the fuels to power
5 vehicles.

6 So this presentation today, though, will
7 kind of focus more on what CARB is doing in the
8 light-duty passenger vehicle with regard to
9 light-duty passenger vehicle activity.

10 So SB 375 is one piece about how we
11 address transportation emissions from light-duty
12 vehicles. In 2008 the legislature passed SB 375,
13 a landmark regional planning measure that
14 requires metropolitan planning organizations, the
15 MPOs, to adopt sustainable community strategies,
16 or SCSs. And some of these strategies include
17 expanding public transit systems or incentivizing
18 development in downtown cores and creating
19 communities with housing and jobs near amenities
20 that are accessible by multiple modes of
21 transportation options.

22 So MPOs develop these strategies as part
23 of their regional transportation planning effort
24 and integrate land use and transportation
25 planning to achieve regional greenhouse gas

1 emission reduction target set by CARB. These
2 targets, if achieved through the plan, would
3 result in reducing VMT. But a more recent report
4 evaluating the progress in meeting the SB 357
5 goal shows that the state is actually not on
6 track to achieve these targets. Reducing VMT to
7 achieve the 2030 greenhouse gas emission target
8 and to meet SB 375 goals would require new state
9 and local VMT reduction actions.

10 So to achieve California's 2030
11 greenhouse gas reduction goal, we need to reduce
12 vehicle miles traveled by approximately 25
13 percent from 2005 levels. SB 375 will get us
14 part of the way. However, both the Scoping Plan
15 and target set under SB 375 do not address the
16 state's more recent goal for carbon neutrality by
17 2045.

18 So SB 375, just to recap, looks at the
19 regional planning process. So if the regional
20 plans the MPOs development are implemented, will
21 they achieve the greenhouse gas emission
22 reduction set by CARB?

23 This next effort -- sorry, I didn't move
24 the slide -- but there's 18 MPOs in California.
25 And they work on identifying land use and

1 transportation strategies to reduce greenhouse
2 gas emissions.

3 Okay, so kind of the second piece to this
4 work is a report we put out just last November.
5 And so since ten years have passed since SB 375
6 passed, which kind of directed the MPOs to look
7 into this planning exercise with sustainable
8 community strategies, and this led to new
9 conversations across the state about how regional
10 plans can provide important economic, health,
11 equity and environmental benefits for
12 Californians. But have these planning efforts
13 been enough? And what progress has actually been
14 made through the implementation of the plans?

15 So last year, we published the 2018
16 Progress Reports, California Sustainable
17 Communities and Climate Protection Act. And
18 there was a report to the legislature on the
19 implementation MPOs have done for their
20 sustainable community strategies. What this
21 report looked at was what progress has been made
22 in implementing the strategies? What challenges
23 exist for implementation? And what are some
24 examples of regional implementation?

25 Our report, to kind of look into the

1 implementation question, we analyzed dozens of
2 metrics. And what did the data say?

3 So the critical datapoint here is VMT per
4 capita and CO2 per capita are on an increasing
5 trend, especially when you're comparing them to
6 the anticipated sustainable communities
7 strategies performance identified through these
8 regional planning efforts. This falls short from
9 the trajectory we're expecting to see in those
10 plans.

11 So to better understand the rise in VMT,
12 we also looked at two dozen other indicators.
13 This graph shows the percentage of people who
14 drive alone to work for selected regions. And as
15 you can see, three out of four people drive
16 alone, and the trend is flat or rising in most
17 regions. The Bay Area is unique with a shrinking
18 share of commuters driving alone to work.

19 When we talk about what's going on in a
20 given region, I just want to emphasize, we're
21 talking about the aggregate results of hundreds
22 of decisions that are made by dozens of agencies
23 and private actors in a given region and not just
24 MPOs.

25 Another metric we looked at was transit

1 ridership. So annual transit boarding trends by
2 the four largest regions are shown in this graph.
3 While spending on active transportation has grown
4 around transit service per person, on the left,
5 has only barely recovered post-recession, and as
6 of 2014, transit ridership, shown in the right,
7 is falling. So is carpooling to work. Around 75
8 percent of commuters drive alone, an amount
9 that's staying the same or growing in most
10 regions.

11 Another metric we looked at, a very
12 important one, housing. So this chart focuses on
13 the Bay Area but is fairly similar to most
14 regions, most of the other large regions in the
15 state. In general, the housing cost burden has
16 gone up with noticeable leaps in some income
17 groups. Home construction is greatly behind what
18 is needed, especially for low-income homes. This
19 is causing costs to soar and may be lengthening
20 commutes if people have to drive further to find
21 a home that they can afford.

22 So why is this happening and what can we
23 do? What do we need to do to get on track to
24 where we need to be? So what were the
25 opportunity areas?

1 Stronger policy interventions will be
2 needed if we are to succeed in reducing VMT in a
3 significant way. To achieve VMT reductions we
4 need a holistic approach that includes better
5 land use planning, increased investments in
6 alternative transportation modes, creative
7 partnerships between public agencies and new
8 mobility providers, and pricing strategies.
9 Incentives and pricing policies that encourage
10 pooling and the use of zero-emission vehicles are
11 also providing a source of revenue that may be
12 reinvested into transit and other clean mobility
13 options, particularly for low-income and
14 disadvantaged communities.

15 We'll also need to put in place policies
16 that address the demands of the future
17 transportation system through new technologies
18 facilitated by the mobile revolution, car
19 sharing, bike sharing, ride hailing services.

20 And, of course, focusing on
21 transportation systems will not be enough. We
22 need policies that influence land use, as well,
23 so minimum densities for new development to
24 increase density and reduce the rate of sprawl
25 and VMT, parking maximums with new development to

1 discourage personal car ownership, and reduced
2 costs of building new housing, and incentives and
3 requirements to change or implement local land
4 use regulations to support implementation of the
5 regions sustainable communities strategies.

6 So these are kind of the central findings
7 of that report that we looked back on
8 implementation of SB 375.

9 So the following slides are examples of
10 follow up to that vision.

11 So CARB executed a research contract with
12 UC Berkeley to explore the technical feasibility
13 of developing a statewide policy for zero-carbon
14 buildings. This research will build upon the
15 zero-carbon building research underway, and then
16 also evaluate how GHG emission reduction
17 strategies can be implemented at a community
18 scale by municipalities. And the objective of
19 the research is to leverage Low-Income Zero-Net
20 Energy Housing Program in Richmond to create a
21 benchmarking and GHG emission reduction framework
22 for zero-net carbon communities. So this project
23 is still underway but could provide some
24 promising information about how to reduce
25 greenhouse gas emissions at the community scale.

1 And kind of tying back to what Elliot was
2 working on -- or talking about, too, CARB is
3 working on SB 1014, the Clean Mile Standard, and
4 it's an incentive program that was passed last
5 year. The legislation directs CARB and the
6 California Public Utilities Commission to develop
7 and implement new requirements for transportation
8 network companies for innovative ways to curb
9 greenhouse gas emissions as new mobility options
10 grow at a rapid pace. So this is -- this
11 regulation development is currently underway and
12 we're really in the early stages of this.

13 And so as I noted before, individual
14 agencies have important work that they've done
15 and can do, but real success will require
16 collaboration amongst many agencies at different
17 scales, local governments, and with community
18 partners.

19 And that concludes my presentation.
20 Thank you very much for your time.

21 VICE CHAIR SCOTT: This is great. Thank
22 you very much. I don't have any specific
23 questions.

24 Do you?

25 COMMISSIONER MCALLISTER: I just have

1 one. So I'm wondering, are we plugged into the
2 zero-net carbon --

3 MS. MILLER: Yes.

4 COMMISSIONER MCALLISTER: -- feasibility
5 study?

6 MS. MILLER: Yes. CEC's --

7 COMMISSIONER MCALLISTER: I'm assuming we
8 would be but --

9 MS. MILLER: -- staff is represented on
10 that.

11 COMMISSIONER MCALLISTER: Okay. Great.

12 MS. MILLER: Yeah.

13 COMMISSIONER MCALLISTER: Yeah. That
14 sounds like a really exciting project, so I'm
15 glad you guys are doing that. And you're
16 probably aware of all the -- you know, or at
17 least that there are complexities in the Building
18 Code with how to deal with carbon versus energy.
19 And so, you know, as we shift metrics the metric
20 by which we determine cost effectiveness for the
21 code update, figuring out how to sort of walk
22 right tightrope is going to be interesting so
23 that we can keep focusing on carbon but also, you
24 know, comply with statute.

25 So anyway, glad we're working together on

1 that, so thanks.

2 VICE CHAIR SCOTT: All right. Thank you
3 very much.

4 MS. MILLER: Yes. My pleasure.

5 VICE CHAIR SCOTT: Appreciate it.

6 MS. MILLER: Thank you.

7 VICE CHAIR SCOTT: Okay. We will now
8 turn to the forecasting community choice
9 aggregation, and that's going to be Cary.

10 MR. GARCIA: I'm excited to use the term,
11 we're switching gears, in this case. I was also
12 at the -- yeah, thank you. I was hoping for
13 that. I was also at the DMV this morning but it
14 went very well. They had music playing and
15 everything. It was awesome.

16 So I'm Cary Garcia. I'm the Lead
17 Forecaster for the Demand Forecast and the self-
18 proclaimed chief aggregator, is how I like to
19 call it. Pulling together all the pieces for the
20 forecast seems to be the bulk of my role these
21 days.

22 But I'm here, really, to set the stage
23 for and provide some context for the panel
24 discussion we'll have later when we have some
25 representatives from the CCAs and the state that

1 Lynn Marshall will help moderate today. And so I
2 just wanted to set a little bit of background,
3 first just giving a quick overview of our demand
4 forecast.

5 The big distinctions here are really
6 between the odd years and the even year IEPRs.
7 And those -- in the odd IEPRs, we'll do a big
8 data collection process we typically refer to as
9 our forms and instructions process. And so that's
10 the data collection that we do to inform our IEPR
11 forecasts. And then running our full sector
12 models, as well as transportation and self-
13 generation models. And then all the various
14 inputs, rates, and econ and demo and such.

15 But for the even year IEPRs, we don't
16 have that formal data collection process. But
17 what we do is we just update our forecast output
18 from the previous forecast using new econ, demo
19 and econometric models to make the adjustments to
20 reflect the changing economy. But we also will
21 do full updates for the self-generation, so as
22 well as transportation forecasts which will
23 primarily focus on light-duty electric vehicles,
24 as well as medium- and heavy-duty and other
25 electrified transportation.

1 But for each of these demand forecast
2 cycles, we produce our demand forecast forms.
3 And these are composed of our baseline forms that
4 are organized by planning area that you may have
5 seen on our website. At the end of the
6 presentation, I put some links there. It's
7 always kind of hard for some folks to find that
8 information, so hopefully that's helpful.

9 And this is broken up by the three demand
10 cases for those baseline forms. I guess you
11 can't really -- oh, yeah, you can see that there.
12 Perfect.

13 So these are baseline forms here. And
14 then typically we'll have our hourly forecasts
15 which will include the monthly peaks for the RA
16 purposes. And then we have load modifiers that
17 breaks out some of our demand forecasts.

18 And then, lastly, we have our load
19 serving entity and balancing authority forecasts,
20 or you've heard of them as our LSE and BA tables.
21 And those will both be a baseline set of forms.
22 And then the managed forms that have the various
23 flavors of AAEE, and in previous history the
24 AAPV.

25 And so focusing on that last form, the

1 LSE and BA table, one of the forms that we have
2 there is what we call our Form 11C, which is our
3 sales by LSE, or have it listed here as
4 electricity deliveries to end users by agency.
5 That's a long-hand term for that. And so this is
6 going to be important for CCAs because if you
7 look closely at it here, hopefully -- it's
8 probably not big enough to see here but maybe on
9 your slides that you have printed out, you can
10 see that there's a breakout by the LSEs within
11 each of the planning areas.

12 So in this case, I pulled PG&E as an
13 example, and you can see how we categorized the
14 bundle direct access. For PG&E, we have BART,
15 separated it out. And then from then on you can
16 see the breakout of CCAs going from Clean Power
17 San Francisco down to Valley Clean Energy
18 Alliance. And then further below you also see the
19 breakout by the individual LSEs mostly being
20 POU's. And then DWR and WAPA at the bottom,
21 primarily water pumping.

22 And so this form is generated using
23 historical data from QFER for our starting
24 points. And then it's essentially a
25 disaggregation of the larger planning area

1 forecast. Those growth rates are -- essentially,
2 the growth rate for the planning area is applied
3 to the respective LSEs there. And then, if
4 needed, we also make some adjustments for
5 specific LSEs if there's a need for incremental
6 load growth adjustments there.

7 And so as I mentioned before, this is
8 sort of a breakout, a further breakout of the use
9 cases for CCAs and how we use them in our
10 forecasts, and who uses them is probably a better
11 term there. So as I mentioned, the Form 11C,
12 that's going to be sales by LSE going out for the
13 full ten years. The main use case there is the
14 CPUC -- or the main use case now is really the
15 CPUC's Integrated Resource Plan. And as I said,
16 that's essentially just a disaggregation, as you
17 can see there in the method column.

18 The TAC area monthly peaks that I also
19 mentioned before, that going to be used for the
20 RA process. That's essentially taking LSE year-
21 ahead projections and doing -- aggregating that
22 up, making sure it lines up with our CEC IEPR
23 forecast, and then apply an adjustment to make
24 sure that's consistent for the RA, consistent
25 with the IEPR forecast.

1 And that last piece there is you'll see
2 the TBD there. That's really getting into
3 forecasting CCAs that have yet to form. When I
4 sort of spoke about in the Form 11C, that was
5 mainly focused on CCAs that exist. And this next
6 slide sort of breaks out that methodology in
7 another way.

8 So the current method that I described
9 there also applies -- which is used for all the
10 LSEs but in this case also applies to the
11 existing CCAs, is using those year-ahead filings.
12 So in the RA process there's the peak demand that
13 gets filed, as well as the energy proportion. And
14 in previous history, we've used that energy
15 portion, as well as looking at implementation
16 plans that get submitted to the CPUC. And that's
17 going to be used for the near term, the one- to
18 two-year-out portion of the forecast in that 11C
19 form that I showed earlier.

20 And as get into the mid to long term,
21 what we're doing there, as I mentioned before, is
22 really that disaggregation. And we have limited
23 data specific to LSEs in that case. But a
24 proposed improvement here is still keeping that
25 one- to two-year-term process using those year-

1 ahead filings and any implementation plans that
2 we have to make any adjustments.

3 But then instead of just simply using
4 disaggregation of the planning area forecast, we
5 have developed forecasting zone projections. So
6 our forecast is already disaggregated to a pretty
7 good level of detail. And it's -- somebody had
8 mentioned earlier, I came in a little bit later
9 because I had that DMV appointment, but I saw
10 they were talking about the LCR areas. And so
11 our forecasting zones are pretty closely aligned
12 to there but not exact. And I know some of the
13 LCRs get kind of -- they're not set-in-stone
14 boundaries. I think they do shift around a
15 little bit. Somebody could correct me if I'm
16 wrong.

17 But the idea there is that we can
18 leverage those forecasting zone projections to
19 get a little bit more of that regionality instead
20 of, obviously, it's a pretty broad brush to say
21 all these CCAs or LSEs are going to grow at the
22 same rate as a planning area as a whole. So that
23 could be beneficial.

24 And then further, to provide some detail
25 into any load growth that is occurring to a

1 specific CCA or an ESP, for example, it would be
2 helpful to have some additional data to justify
3 and to understand what the growth is occurring,
4 or perhaps even as we move farther along into the
5 development of CCAs, what happens with like opt-
6 out rates, for example? So, you know, what is
7 the movement back and forth, this load migration,
8 either to a CCA or away from or however that may
9 play out?

10 And so some of the next steps that I
11 outlined here, and I mentioned this before, the
12 need for the CPUC's IRP process, is really we
13 need to sit down, perhaps through our joint
14 agencies, to discuss the alignment of our
15 processes. I think things are changing a little
16 bit. You know, we transitioned from the LTPP to
17 the IRP. And so I think there are some
18 opportunities to make sure we're aligned there,
19 to make sure that our forecasts are getting used
20 in a timely manner and there's no discrepancies
21 when we're making some of these planning and
22 policy decisions.

23 Also, as I mentioned, we need to go
24 through a process to identify some of the
25 additional data requirements we may have through

1 this data request process that we go through.
2 And there's also another bit there, that there is
3 a gap between our full IEPR demand forecast, as
4 well as our -- gap between the full IEPR forecast
5 and the update because there is no formal data
6 request that's occurring there.

7 So we have to think about, perhaps,
8 another process to collect some data,
9 particularly when you have the case of CCAs,
10 there may be some more dynamics there. It's a
11 more dynamic, I guess, field or category of LSE.
12 So we want to make sure, I think, we have the
13 best information we have without putting a burden
14 on LSEs or CCAs by asking them to continually
15 submit data on a regular basis. So we'll have to
16 think about that a little more.

17 And then the last bit I somewhat glossed
18 over but I think it's important is really looking
19 into the problemistic or even scenario-based
20 forecasts of departing load. And think this is
21 something that gets into -- when we get into the
22 weeds in this about understanding, you know, what
23 may be the best approach for the short term and
24 what may be the best approach of the long term,
25 and really understanding from our stakeholders

1 not only the utilities, LSEs, CCAs, but also our
2 joint agencies, the CPUC, the ISO, about
3 understanding, you know, what would be the use
4 cases for doing this within our IEPR forecasts.
5 And so we really want to understand that a little
6 bit better and get on the same page there.

7 But, really, I guess, hopefully this
8 provides good intro to the panel discussion. I
9 think, at least for me, I really kind of want to
10 understand a little bit about the programs around
11 CCAs. You know, what sets them apart from the
12 typical utility out there? Obviously, the
13 landscape is changing. It could be the case, you
14 know, at some point where we're no longer
15 actually focusing on the planning area. We could
16 still do our planning area forecast but we're
17 actually requesting a lot more information from
18 these CCAs than we have in the past, and I think
19 that will have to happen, as we see here, but I
20 will leave it at that.

21 It kind of feels like an awkward
22 transition but I guess we'll get the panel kicked
23 off. Hopefully I sparked some ideas or thoughts
24 with our panelists, but I think we have a whole
25 host of questions as well.

1 VICE CHAIR SCOTT: Thank you.

2 MR. GARCIA: Yeah.

3 VICE CHAIR SCOTT: Thank you very much --

4 MR. GARCIA: So maybe I'll invite --

5 VICE CHAIR SCOTT: -- for the overview.

6 MR. GARCIA: -- them up.

7 VICE CHAIR SCOTT: Yeah. Why don't we

8 have the panel come on up. And welcome. You

9 have to push your mike button. There you go.

10 MS. MARSHALL: -- three CCAs of the 19

11 that are currently serving load. And really

12 appreciate their time in getting here today. I

13 know this is a busy time of year procuring for

14 the year ahead, so welcome.

15 So we have Gary Lawson, who, actually, is

16 an employee of SMUD. But he is managing

17 wholesale services for Valley Clean Energy

18 Authority. And then Rebecca Simonson, who is, I

19 hope I say this right, Manager of Power

20 Resources -- Power Resources Manager for Sonoma

21 County -- I'm saying this wrong. And J.P., who

22 just got here from the airport, and he is Lead of

23 Local Development for East Bay Community Energy.

24 And they can tell you more about their CCAs as we

25 go forward with our discussion.

1 So Cary gave a good background. You
2 know, in particular, we've seen, in the CPUC
3 Integrated Resource Planning, them now directing
4 CCAs to use our sales forecast for CCAs in their
5 integrated resource plan. This is a new use;
6 right? We've been doing that table for use but
7 this is a new application. So we realize now, we
8 need to get more input from them on programs that
9 we haven't been paying attention to include those
10 in our forecast.

11 So to start off, we'd first like to hear
12 about what source of decarbonization programs
13 you're pursuing and, in particular, how those
14 programs are funded? We have tended to pay
15 attention to PUC, publicly-charge funded, and we
16 look at certainty of funding as a measure of
17 commitment of those programs? And then how are
18 you measuring and verifying program impacts? And
19 are there other decarbonization strategies you're
20 pursuing that may affect electricity demand?

21 And who would like to start, this end or
22 that?

23 MR. GARCIA: I also wanted to make sure
24 that we were offering them an opportunity to just
25 give a brief introduction.

1 MS. MARSHALL: Okay.

2 MR. GARCIA: If --

3 MS. MARSHALL: And I think you could do
4 that as part of this first --

5 MR. GARCIA: Oh. Okay.

6 MS. MARSHALL: -- as part of this first
7 question.

8 MR. GARCIA: Okay.

9 MS. MARSHALL: Feel free to give any kind
10 of background for your agency.

11 Gary, you want to start?

12 MR. LAWSON: Yeah. My answer is pretty
13 easy. Valley Clean Energy is a fairly small CCA.
14 It's encompassed in the County of Yolo and it's
15 the Cities of Davis, Woodland, and unincorporated
16 portions of Yolo County. So they're fairly
17 small, I wouldn't say super sophisticated at this
18 point. They're kind of growing into the role.
19 So they don't currently have planned any programs
20 specifically for decarbonization, apart from
21 their current efforts to procure renewables in
22 seeking to meet the RPS requirements, as well as
23 exceed those.

24 Just by way of introduction, in terms of
25 load forecasting effort, Valley Clean Energy

1 launched last June. We did the first forecast
2 for them in late 2017 after the 2017 IEPR
3 process. So the 2019 IEPR process was really our
4 first opportunity to provide a little more robust
5 planning forecast to the Commission.

6 I will say that we're taking steps to
7 incorporate more decarbonization activities,
8 whether specifically programmatic or not. In
9 this year's IEPR, we did make an explicit
10 adjustment to the forecast to try and account for
11 net-metered solar adoptions, which is fairly high
12 penetration in Yolo County, as well as we made a
13 simplified explicit forecast adjustment to
14 recognize electric vehicle adoption and charging
15 loads associated with that. So while not super
16 sophisticated, I would say that we're making
17 steps to increase how we forecast the effects of
18 decarbonization activities and load changes.

19 MS. MARSHALL: Okay. Rebecca?

20 MS. SIMONSON: Good afternoon. As Lynn
21 said, I'm Rebecca Simonson. I'm the Power
22 Resources Manager at Sonoma Clean Power. Sonoma
23 Clean Power has been in existence since May of
24 2014. We launched in Sonoma County. And in June
25 of 2017, we expanded to Mendocino County. We

1 currently serve around 230,000 customers.

2 By way of introduction, I just wanted to
3 explain my role at Sonoma Clean Power. So I'm
4 responsible for managing our short-term day-ahead
5 forecasts, as well as near-term, our monthly and
6 year-ahead in terms of revenue, budget, rate
7 settings, our GHG and RPS goals, our resource
8 adequacy forecasting, as well as the ARRA process
9 with PG&E for them forecasting their departed
10 load. And we have participated in the IEPR
11 process in 2017 and again in 2019.

12 And I work very closely with our customer
13 service team, so I am able to assess any trends
14 that are happening in the residential sector from
15 a customer point of view, and also from our large
16 commercial customers. If there is some demand-
17 side resource they intend on designing and
18 installing, I get a good heads-up on that.

19 I also work very closely with our
20 programs team. All of our forecasting
21 incorporates all aspects of programs. In fact,
22 anytime we are considering a program, the
23 procurement team is included on that.

24 So in terms of decarbonization, Sonoma
25 Clean Power has had two rounds of what's called

1 the Drive EV Program. We've incentivized the
2 electric vehicles and given away free electric
3 vehicle charging stations and encouraged
4 customers, as part of that, to sign up for our
5 demand response program which is called Grid
6 Savvy. Currently, Grid Savvy only includes
7 electric vehicle charging. However, we intend to
8 roll out smart thermostats, heat pump hot water
9 heaters, heat pump heating and cooling, and
10 behind-the-meter storage.

11 And as those programs roll out we,
12 generally, we implement them through our own
13 budgeting and some through actually CEC grants.
14 So we are not tied by the TRC cost effectiveness,
15 so we are able to treat those as pilots, and to
16 assess potential impacts on load and cost to our
17 customers and cost to Sonoma Clean Power and
18 whether that is, basically, a fast fail or
19 whether it's scalable and we should implement it
20 for the rest of our territory.

21 I think that's probably good for now.

22 MS. MARSHALL: J.P.?

23 MR. ROSS: Yeah. Good afternoon. J.P.
24 Ross, Director of Local Development,
25 Electrification and Innovation with East Bay

1 Clean Energy, and it's actually East Bay
2 Community Energy. So we serve about 600,000
3 meters in Alameda County, all of Alameda County,
4 except for the City of Alameda which has their
5 own POU, as well as the two Cities of Pleasanton
6 and Newark are not part of our service territory.

7 We are progressing with some additional
8 cities. So the City of Tracy as voted
9 unanimously to join our CCA. First vote was last
10 year. We've got a couple more readings of that,
11 then Tracy -- so that Tracy. And then Pleasanton
12 is also looking at entering. So that will
13 increase our load. Those are forecasted for the
14 2021 enrollment year.

15 We're about a six terawatt business as of
16 now. And hopefully, if we do our job right,
17 we'll be closer to 15 in a few year, maybe a
18 decade. We want to do that through
19 electrification of vehicles and buildings. So
20 right now there's about six terawatt hours of
21 gasoline and diesel that's burned or purchased in
22 Alameda County, and another six terawatt hours of
23 natural gas that's burned in buildings. With
24 heat pump efficiency, that probably doesn't
25 actually equate to 6 terawatt hours of

1 electricity, so that's why I bring it down to
2 about 15. But that's what we want to do with our
3 programs in the big picture.

4 So we have a \$6 million budget that we've
5 allocated this year for local development and
6 local programs. Each year, we also put one
7 percent of our operating revenues into what's
8 called the Local Development Reserve fund. So
9 that's kind of a revolving loan fund that we are
10 still defining the boundaries of how we make
11 those investments. But over time that will
12 become a pretty substantial resource that we'll
13 be able to continue to invest in our local
14 development activities.

15 To do a quick run-through of some of the
16 programs, we started serving customers,
17 commercial customers, in June of 2018, enrolled
18 residential customers in November of 2018. So
19 we're still quite young, one of the younger CCAs.
20 I came onboard in January, so still less than a
21 year in.

22 So far what we have done is we've
23 launched two demand response programs. So we run
24 a Peak Day Pricing Program, which is analogous to
25 PG&E's Peak Day Pricing Program for large

1 commercial customers. And then earlier in the
2 summer, we also launched a Battery Demand
3 Response Program. So we have about 500 kilowatts
4 of batteries aggregated between commercial and
5 residential customers. And we are calling events
6 based on wholesale pricing to mitigate our
7 wholesale procurement activities. We called one
8 earlier this week. So we're trying to see what
9 those assets do as we try to manage them and
10 aggregate them up. So we have those two demand
11 response programs.

12 We've also just recently, last week,
13 issued a solicitation for electric vehicle
14 support. So many of our cities have
15 electrification, fleet electrification
16 strategies, but didn't have the technical
17 resource to help their fleet managers and cities
18 plan through that. So we're allocating
19 between -- up to, probably, \$400,000 to help our
20 cities with the technical resource to actually
21 achieve those fleet electrification plans.

22 We also just submitted an LOI for the
23 2020-21 EVIP cycle just this week, looking to
24 work with the CEC on your Electric Vehicle
25 Incentive Program.

1 We have signed contracts for over 500
2 megawatts of new solar and wind; 60 megawatts of
3 that will be in Alameda County. We have LOIs
4 that will be used for another 100 megawatts of
5 Alameda County wind. And over 80 megawatts of
6 batteries, so that's six times our required
7 battery amount. We're a 1200 megawatt peaking
8 LSE, so our requirement is, I think, 12
9 megawatts, so we're substantially above that with
10 existing PPAs that have been signed for
11 batteries.

12 We are also running a resilience program
13 for critical facilities in Alameda County, so
14 this is a joint activity. It's funded by a Bay
15 Area Air Quality Management District grant with
16 PCE from San Mateo County. So we have now created
17 an inventory of over 100 -- or, sorry, 500
18 critical facilities that have been deemed
19 critical by city governments of those two
20 counties.

21 We are doing a technical assessment
22 across all of those rooftops and the load
23 profiles of those buildings to identify solar-
24 plus-storage opportunities on those buildings for
25 resilience. And a product of that will be a

1 procurement, that we will go out on behalf and
2 with our cities to procurement solar plus storage
3 to make those critical facilities more resilient
4 in times of earthquake or fire or PSPS
5 (phonetic).

6 So that's ongoing and should complete the
7 analysis and identification of those
8 opportunities by March so that next year we can
9 go out with that volume procurement.

10 We also are pushing Reach Codes. So your
11 team is probably aware of it, but there's lots of
12 activity across the state with Reach Codes for
13 building electrification in the 2020 -- or the
14 2019 Building Code cycle. So between six and
15 eight of our cities are planning on pushing new
16 Reach Codes for both building electrification and
17 vehicle electrification. I'm quite excited about
18 that. Obviously, Berkeley has been in the news
19 with their natural gas ban that they have passed.
20 They will also be passing a Reach Code to kind of
21 create a foundation for that. And many of our
22 cities are looking at either an all-electric code
23 or the mixed fuel version which prioritizes
24 electric buildings over mixed fuel buildings.

25 We issue a series of grants. We've done

1 that with some of our community stakeholders. We
2 have issued about a quarter million dollars in
3 grants to local CBOs that are trying either Level
4 1 vehicle electrification in multiunit dwellings,
5 community solar applications, installing solar on
6 nonprofits, a variety of things to kind of help
7 curate and cultivate nonprofit activities that
8 are kind of solving and addressing energy-related
9 environmental issues in our jurisdiction.

10 We are a data-driven organization. So we
11 have now acquired all of the DMV data for all
12 light-duty vehicles registered in Alameda County.
13 It's about 27,000 battery-electric and plugin
14 hybrid vehicles in the county. We expect that to
15 grow to about 86,000 with the 2025 goal of 1.5
16 million vehicles, and then 266,000 by 2030. So
17 there's a huge growth in electric vehicles. We
18 know where those vehicles are and we certainly
19 want to roll that data into programs.

20 We've also acquired all the forklift data
21 in California in our territory from CARB to run
22 some forklift programs. About 60 percent of
23 those propane -- sorry, 40 percent of propane, 40
24 percent of diesel, and only 20 percent are
25 electric, so there's a large electrification

1 opportunity with forklifts.

2 And there's a lot of heavy-duty vehicle
3 transport in Alameda County, as well, certainly
4 originating from the port. So how we can not
5 only focus on light-duty vehicles, which the
6 Electric Vehicle Incentive Program will focus on,
7 but also medium and heavy duty with the number of
8 DACs and air-quality impacted constituents we
9 have in our territory.

10 So that's a brief overview of EBCE and
11 the programs that are currently -- have currently
12 launched and are planning on.

13 Oh, actually, sorry, one more thing.
14 Sorry to monopolize.

15 We're also right now in the process of
16 building a solicitation that's, I think, quite
17 exciting to go to the market to work with
18 residential and commercial focused storage and
19 solar-plus-storage providers to purchase RA,
20 resource adequacy, from local installed solar and
21 batteries or batteries alone in Alameda County.
22 So our goal is to get at least 10 megawatts of RA
23 by the 2022 filing, so interconnected by
24 September of '21 is the plan and do that in
25 partnership with local providers who would use

1 local labor to install that and provide much more
2 resilience to our residential and commercial
3 customers.

4 So we're building that solicitation now
5 and that will be going out at the end of this
6 month so that we can have at least a little more
7 of an accelerated push on more batteries before
8 the 2021 fire season.

9 MS. MARSHALL: Okay. Do you have
10 questions at this point?

11 COMMISSIONER MCALLISTER: Is there a
12 little room for questions? Yeah, I have a couple
13 questions.

14 MS. MARSHALL: Sure. Go right ahead.

15 COMMISSIONER MCALLISTER: So that was
16 great. Thanks a lot. I was going to ask about
17 RA and I guess I'll just kick off where you
18 started.

19 And, you know, that's great. I guess I
20 wanted to kind of get viewpoints from the other
21 two, as well, about kind of the challenges in the
22 RA market right now and how that -- what that
23 looks like in terms of, you know, it's a little
24 bit of a crowded field and, you know, prices are
25 volatile, so that's a great solution.

1 I guess I'm wondering what the thinking
2 of the other two in maybe a little more broader
3 context about the RA market generally.

4 MS. SIMONSON: Yeah. So as part of our
5 Grid Savvy Program, our long-term goal is to
6 aggregate all the different technologies, the
7 behind-the-meter solar, the heat pump hot water
8 heaters, heat pumps, smart meter -- or smart
9 thermostats, and electric vehicle charging
10 stations, and aggregate those to participate in
11 the proxy demand response as part of RA and other
12 grid services.

13 We don't currently have a megawatt goal.
14 But as you mentioned, the RA market is getting
15 very crowded and is also becoming much more
16 specific in the local areas. So it is our intent
17 to procure utility-scale storage as well.

18 MR. LAWSON: WE don't have any specific
19 goals for local RA in storage. But I will say we
20 are evaluating it, certainly the price increases
21 in the RA market because of the additional
22 friction of having to go now procure from six
23 local zones, where previously we had one
24 aggregated zone, as done a lot to push pricing
25 up. So it will make batteries much more cost

1 effective in relationship to that.

2 COMMISSIONER MCALLISTER: So, yeah, I
3 live in Davis. So, you know, I've got a 240-volt
4 circuit in my garage. So if you want me to hang
5 a battery on there, you know, make it worth my
6 while, okay?

7 So, let's see, I guess on demand
8 response, I have kind of -- it's a little in the
9 weeds but I think it's important.

10 How are you managing -- I guess this is
11 more for J.P. -- but how are you managing --
12 well, and for Sonoma, to the extent that you've
13 got the DA program -- how are you managing just
14 in a -- as a pragmatic, programmatic issue, the
15 visibility, the dispatch, the settlement, all
16 that, the aggregation? Are you working through
17 third-parties, or are you doing that yourself, or
18 what's your kind of market approach there?

19 MR. ROSS: Yeah. If I could, I'll answer
20 your -- maybe a little bit more on RA, and then
21 go to demand response.

22 So we, you know, we have over -- it's
23 just under a gig of our system RA requirements --

24 COMMISSIONER MCALLISTER: Um-hmm.

25 MR. ROSS: -- and over 300 megawatts of

1 local that fall to us, so that market is
2 increasingly illiquid. And, certainly, we're
3 looking at Diablo coming offline in 2024-25 and
4 what's the going to do. That's going to be quite
5 interesting. So we're definitely on the market
6 and thinking, you know, I think creatively with
7 the CEC on how the CEC is doing forecasting and
8 looking at how we are, you know, looking at
9 forecasting at the CEC, as well as how the PDR,
10 Proxy Demand Response Program, through the CAISO
11 is operated. There's some limitations on how we
12 are able to value batteries, behind-the-meter
13 batteries, in those programs, and it's actually
14 quite limiting.

15 So as you are probably aware, you know,
16 one limiting factor is in the PDR a behind-the-
17 meter asset can only be discharged up to the
18 level that the building is consuming power. So
19 if you can't export, then you're curtailing your
20 ability to provide capacity and energy into the
21 market by, some would say, 50 percent. So why
22 are we limiting batteries when we need more RA
23 and we need more capacity?

24 So similarly, if an event is called
25 during a period of time where a battery is

1 normally charging and that battery doesn't
2 charge, then that gap, that delta is not counted
3 toward PDR. So we are handicapping these assets
4 that we are trying to get into the marketplace
5 through the way that program is operating it.

6 You know, I think similarly, we can talk
7 about how the CEC forecast is built and how we
8 might really be valuing these assets that we're
9 putting online that are much more flexible than
10 larger assets which have longer timelines.

11 COMMISSIONER MCALLISTER: Well, I guess
12 just to put a finer point on this, I mean, they
13 can be more flexible if the systems are in place
14 to make them flexible and to call them and to
15 aggregate them --

16 MR. ROSS: That's correct.

17 COMMISSIONER MCALLISTER: -- and have
18 visibility in that.

19 And so, I mean, I guess this is what I'm
20 asking, really, like what -- you know, we have
21 some authority in this area, that may be codes,
22 it may be load management standards. And so, you
23 know, what are the kinds of things we could be
24 thinking about to kind of standardize --

25 MR. ROSS: So, yeah --

1 COMMISSIONER MCALLISTER: -- some of
2 this?

3 MR. ROSS: -- agreed. So to answer, you
4 know, on the DR Program, I'll be quite blunt, I
5 put that program in place in about a month. And
6 so we're using, I think, Mailchimp (phonetic) and
7 Easy-SMS (phonetic) to call events is how we are
8 currently calling events. But we're actually
9 learning a lot about how those batteries are
10 operating and how we would call events. It's
11 only 500 kilowatts. We are really only using
12 those resources to manage our wholesale
13 procurement costs. But we learn a lot about
14 that.

15 You know, so for example, one of the
16 learnings out of the first event I called was I
17 pushed our battery providers to respond within an
18 hour, a one-hour period of making a call which,
19 considering all the manual processes, is actually
20 quite quick. Of course, if you automate then you
21 can have it faster.

22 But the first event that we called was
23 when we had day-ahead pricing and we saw the
24 market clearing price above \$150 to \$200 between
25 6:00 and 8:00 p.m. And so I looked at that and I

1 said, well, I could call that event at 5:00 which
2 gives me my one-hour period, but if I call that
3 event at 5:00 then the battery has already been
4 discharging for an hour, so I've already lost
5 some of the powder in my keg, so why would I do
6 that? So I call it at 2:00.

7 So speed of response when the battery is
8 generally discharging from 4:00 to 9:00,
9 probably, linearly to manage your battery
10 resources, speed doesn't -- necessarily isn't it
11 your friend. If you're respond to AS or
12 frequency response or other, or you're settling
13 in five minutes, you know, your market
14 integrated, certainly, speed has a lot more
15 value. But, you know, as we're looking at these
16 batteries and how they respond and how we would
17 call events, that's the reason I said, well, I
18 just started, but let's get a program up and
19 running because I'll learn a lot by thinking of
20 these things that I wouldn't think of if I was
21 like, oh, I'll do a battery demand response
22 program next year.

23 So over time, as we put more resources
24 in, electric vehicles, thermostats, heat pump hot
25 water heaters, space heaters, all those devices,

1 then we would certainly bring in a third-party.
2 That's not our area of expertise. But for right
3 now, spreadsheets and everyday thinking about it,
4 from my perspective, is the best way that I can
5 kind of learn how these batteries can add value
6 and how we would actually dispatch them.

7 COMMISSIONER MCALLISTER: Thanks.

8 MS. SIMONSON: And we do use a third-
9 party aggregator but we can call the event. And
10 right now we're calling events, basically, in the
11 pilot stage at points where we see wholesale
12 prices driving the event, but also just as a
13 learning exercise until we can scale up and make
14 them a good resource for Sonoma Clean Power.
15 Right now it's just through a third-party
16 aggregator but we get to call the event. And
17 we're using it as a learning study.

18 COMMISSIONER MCALLISTER: Great. Thanks.

19 MS. MARSHALL: So related to that, can
20 you speak to, a little bit, about how you're
21 evaluating the program performance, and then, you
22 know, how this presents challenges for then
23 forecasting, so based on demand forecasting?

24 MR. ROSS: Sure. So for right now, we've
25 established our own baselining criteria. So we,

1 at the end of every month, we will get from the
2 participants the monthly discharge and charge
3 profiles of those assets. And then we will
4 compare event days to non, to similar non-event
5 days, 10-10 kind of thing. And so we haven't
6 done that yet. We will learn a lot from our
7 first exercise on how that baselining methodology
8 would work. But that's how we're evaluating
9 success.

10 I think, you know, the other thing that
11 we are trying to get our hands around is what is
12 the economic value of this to us and our
13 customers? So in very rough numbers the way I
14 price this program is we call events when we
15 expect the price to be above \$150 a megawatt hour
16 and we pay \$100 a megawatt hour with an average
17 estimate that it costs us 50 bucks during those
18 times period. But that's not actually what it
19 costs us to serve electricity to that customer
20 during a period where they're either charging or
21 not charging or discharging that battery.

22 So we are also going through the exercise
23 of what's the marginal cost? And as those
24 batteries shift from where they're charging and
25 discharging and what that means to the customer's

1 load, what does that mean for our actual margin
2 which is it's the margin that goes back from the
3 program back to our customers in the form of
4 other programs and savings?

5 So it looks easy on the surface but it
6 will be good, complex calculation as we run
7 through it and have this summer's learnings.

8 COMMISSIONER MCALLISTER: Are you worried
9 about sort of over cycling batteries? I mean,
10 you know, they do have a limited cycle life. You
11 know, I hear all sorts of different numbers. I
12 know a little bit about batteries. You know,
13 it's like -- and I know that ISO is thinking
14 about, okay, well, how much should we be
15 diversifying our storage population?

16 MR. ROSS: Yeah.

17 COMMISSIONER MCALLISTER: So if you work
18 them too hard do you think that's going to impact
19 the customer in a negative way?

20 MR. ROSS: So to -- as far as the overall
21 customer relationship, we don't actually get in
22 between there. So we are working with
23 aggregators who are running those batteries. And
24 those aggregators have a warranty obligation that
25 they know better than we do, as well as a

1 customer agreement that they know better than we
2 do. So if their agreement with the customer is
3 they're always going to leave 20 percent in the
4 battery for a blackout, we're not going to get in
5 the way of that. We're just saying discharge
6 everything you can in this period.

7 Also, these batteries are set to
8 discharge every single day. So we're just
9 probably shifting the timeframe and maybe
10 accelerating the discharge going, in my previous
11 example, instead of a four-hour window or five-
12 hour window from 4:00 to 9:00, we're asking it to
13 all go from 6:00 to 8:00. And so there's a
14 doubling of the capacity rate but it's still a
15 single discharge during the day, and then it's
16 being charged up at night.

17 We are not managing those assets. We are
18 not on the hook for the warranty. And we're
19 expecting that if that gets over-discharged then
20 -- you know, we're effectively not operating as
21 the SC in this event.

22 I think for utility-scale batteries, you
23 know, that can be a bigger issue where who is the
24 SC is actually quite important. And I think what
25 we've found so far is that when the battery

1 operator is the SC, then maybe they have some
2 problematic pricing about how they're actually
3 dispatching that battery into the market.

4 So in all of our utility-scale contracts
5 for batteries we are the SCC because we know that
6 those batteries not only have to be sitting
7 there, they actually have to be discharging into
8 the grid when we need them.

9 MS. MARSHALL: Okay. So that was
10 actually the second topic, demand-side grid
11 resources.

12 So let's move on to, more generally, to
13 demand forecasting. And can you talk a bit about
14 how you do your forecasts, specifically demand-
15 side resources, combined effects of electric
16 vehicles, and now adding storage, et cetera?

17 So who would like to start?

18 MR. LAWSON: I can start. I kind of
19 referenced in my opening remarks, effectively,
20 we're adding in specific modifiers to the load
21 forecast to reflect the conversion of the
22 adoption of net-meter solar by customers. Again,
23 the solar penetration is fairly high in Yolo
24 County, so we wanted to reflect that going
25 forward, so we did include the explicitly. It's

1 not programmatic. It's just self-adoption by
2 customers.

3 And in addition to that, we also put in a
4 factor for EV charging loads over time, just to
5 capture the expected growth of EVs, again,
6 nothing specifically programmatic at this point.

7 MS. SIMONSON: So we start with our
8 hourly CAISO settlement historical data. We
9 forecast -- we update our forecast, pretty much
10 monthly. We forecast by load profile so we
11 have -- we forecast by residential and small
12 commercial, medium commercial, large commercial,
13 industrial, ag, street lighting, traffic control.
14 And, obviously, they all have different variables
15 behind what you need to consider in their
16 forecasting. We also break down our NEM
17 customers, the growth, and what we believe to be
18 the capacity behind the meter. We are closely
19 following our EV trends and monitoring those as
20 the months go by.

21 And so as we start with this hourly
22 forecast, we then build up to the yearly
23 forecast, and that's done on an hourly basis.
24 And from there, this is what we call our base
25 forecast, so we forecast down to every hour to

1 ensure that we are forecasting our peak
2 accurately. And from there, in the long-term
3 forecast, we determine trends and behind-the-
4 meter solar, behind-the-meter storage, electric
5 vehicles, energy efficiency, building
6 electrification, and we profile that across the
7 years and model those discretely and so that we
8 can look at the effects of each of those and
9 ratchet those up and down depending on what our
10 goals are or what the trends we see going
11 forward.

12 I think the most important thing about
13 the way we forecast is we do it in-house and we
14 have a very clear understanding of our customers.
15 And we are able to see trends relatively quickly
16 that may not be readily apparent. And we are
17 able to respond to those accordingly.

18 You know, I kind of want to talk
19 specifically about what we found last year. In
20 the EV rates, we were seeing customers that were
21 7 to 300 times -- using 7 to 300 times the amount
22 of a typical residential customer, more than a
23 home that would have two electric vehicles, more
24 than a home that would have pools and air
25 conditioning. And we noticed a drastic steady

1 decline and were able to go in depth and look at
2 what might be going on.

3 And we determined that the legalization
4 of cannabis in our county was driving wholesale
5 prices of cannabis down such that home growers
6 were no longer economically viable and that load
7 was departing and was not going anywhere. And we
8 were able to respond to that from a budgeting and
9 revenue perspective. That's something that we
10 would never have been able to parse out or
11 distinguish had we been using a consultant or we
12 weren't that familiar with our customers.

13 So I think that's just a really
14 interesting thing that, you know, because we have
15 your customers and we are very familiar with our
16 territory and our customers, we are able to
17 really get down into the detail of what's going
18 on with our load.

19 MR. ROSS: So, let's see, on the
20 forecasts, we've -- so one of the first things
21 that we did was invested in a data scientist
22 team. They have spent the last year-and-a-half
23 building a data warehouse, so we get data from
24 PG&E every day and we download that into our data
25 warehouse, so we have four years now historical

1 that we use for all sorts of analytics.

2 We built our own forecasting engine. So
3 I think at last count it was within three to five
4 percent, plus or minus, on a day-ahead forecast
5 compared to what we're seeing wholesale prices
6 are. And that's how we -- we build that up into
7 our annual forecast.

8 I'd say, you know, some of the things
9 that we've done with that so far is we've been
10 using that data warehouse to, and our team, to
11 evaluate where we expect to see all-electric
12 heating in our homes, where we expect to see A/C
13 units in our homes. And we are also looking at
14 how our electric vehicle fleet is operating.

15 So as I said earlier, there's about
16 27,000 electric vehicles in Alameda County.
17 We've looked at the customers that are EV rates.
18 About 30 percent of those customers are on EV
19 rates. And then we did a disaggregation of those
20 to understand which of those are on Level 2 and
21 Level 1. It looks like about 20 percent of those
22 are on Level 1. We don't have that data. But we
23 have actually just requested similar data from
24 PG&E to try to get everything that they have on
25 solar and storage. And I'll ask for EV

1 interconnection, as well, because they have a lot
2 of that information, so we can pull that in and
3 start to put it into our models so that we can be
4 more effective.

5 You know, there's -- we have about 30,000
6 NEM customers, so 27,000 electric vehicles,
7 30,000 NEM customers. I don't think that that's
8 a coincidence. There's a lot of overlap between
9 those two areas.

10 And some of the things that we're doing
11 on the programmatic side is now looking at where
12 that PV is located. So as I said, we've
13 requested from PG&E. We know who's a NEM
14 customer but we don't know the size of that
15 system. We don't know the modules or the
16 invertors on that system. So we want to look at,
17 you know, where are those systems located?
18 What's their performance? We don't have the
19 performance of the systems. Obviously, we just
20 have the net meter output.

21 I just came from a solar conference this
22 morning in Salt Lake City and had a conversation
23 with one of the companies that we incubated out
24 of our offices while I was at Sungevity. And
25 they have now 300,000 systems operating in their

1 platform, PPA systems, large utility and
2 commercial and residential systems.

3 So how can we work with a company like
4 that who can -- who already has a lot of the
5 third-party-owned systems in their database from
6 a monitoring perspective? And then use that data
7 to create a proxy performance out of the systems
8 that they don't have in their system. So if they
9 have 30 to 50 percent of the systems in Alameda
10 County, in our territory, in their system, they
11 can actually create a proxy performance out of
12 the rest of the systems once we tell them that
13 this location, it's at this tilt and orientation
14 with these modules and this inverter, which we
15 will all get from the PG&E data that we've just
16 requested. So you know, we're really trying to
17 match that up.

18 We're also doing an analysis right now in
19 partnership with Google to identify the solar
20 resource across every building in our terr. And
21 that's a piece of data that will probably go into
22 our resiliency RFP that's going out, not the
23 customer data but the capability and the resource
24 that's out there because we want to make our
25 solicitations really responsive -- you know, easy

1 to respond to and easy for those providers to
2 price so that we know that we're getting the best
3 price back for the commodity that we're
4 purchasing, which is RA. We want them to know
5 that they can actually deliver on it.

6 COMMISSIONER MCALLISTER: I what to ask a
7 question about the data exchange between the
8 utilities and you guys.

9 So you know, one concern about kind of
10 having another layer in there is just sort of
11 friction that's created handing the baton up and
12 down. And early on, certainly, there were issues
13 getting data from the big utilities and, you
14 know, disruption was having in real time; right?
15 So, I guess, has that been worked out? I mean,
16 when you give a data request to PG&E, is it
17 happening in a way that is relatively efficient
18 and effective or there's progress there, needed
19 there, or what?

20 MS. SIMONSON: So for the data requests,
21 we only needed to use that for our feasibility
22 when we had no insight into our customers. Now
23 that we get a daily, same with East Bay, as East
24 Bay does, we get a daily transfer of hourly meter
25 reads from PG&E directly over to our database,

1 and that just happens automatically. It's a
2 pretty streamlined process.

3 MR. ROSS: I think -- so I think I only
4 just joined and I've done, I think, two data
5 requests to PG&E. Both of them came through, I
6 think, within a week. We got this last PV and
7 battery data request through, so I haven't looked
8 at it yet, so I can't tell you how clean it is.
9 But -- so I'm happy with that, you know? And I
10 can't really answer for the rest of the business,
11 the rest of the organization. But, you know, I
12 think it's gone smoother.

13 I think some of the things that we
14 struggle with a little bit more are where there's
15 systematic constraints from the PG&E system --

16 COMMISSIONER MCALLISTER: Yeah.

17 MR. ROSS: -- so the 4013 data that we
18 get is, you know, kind of the qualitative data
19 across the customer base, so CARE and FERA and
20 medical baseline and, you know, all-electric,
21 non-electric. So there's a limited number of
22 fields there. And if we want to try to increase
23 that, then that's, I think, where we come across
24 some challenges. And we -- I think, you know,
25 you're getting -- we try to be data heavy and

1 make data-driven decisions. And so that's where
2 I see us running across some more challenges --

3 COMMISSIONER MCALLISTER: Thank you.

4 MR. ROSS: -- at least at the
5 programmatic level. I really don't, at the
6 procurement level --

7 COMMISSIONER MCALLISTER: Yeah.

8 MR. ROSS: -- that's not my
9 (indiscernible).

10 COMMISSIONER MCALLISTER: That's great to
11 hear. I'm glad everybody's working together
12 nicely.

13 MS. MARSHALL: Okay. So finally, so
14 Staff is focused on how we can improve our CCA
15 forecast and what additional information we
16 should be getting.

17 What are the priorities that, from your
18 perspective, that we should be focusing on? You
19 know, a few challenges we're concerned about are
20 this handling of the solar plus storage type of
21 resource, forecasting, expansion of CCAs in the
22 future. But what are your thoughts on what
23 issues we ought to be paying attention to?

24 MS. SIMONSON: Certainly, expansion of
25 CCAs and creation of CCAs will change the

1 forecasts as they go.

2 As mentioned previously, we are able to
3 adjust and refine and provide the most accurate
4 forecasts we can on pretty much a monthly basis.
5 So I think the best thing that can be done is to
6 have a forecast that is able to be updated, at
7 least, yearly, at least midway, even midway
8 through the year.

9 Currently, the way we forecast, you know,
10 we provide our initial -- for resource adequacy
11 is we provide our initial year-ahead forecast in
12 April. And the only modification we're allowed
13 is a strict definition of load migration, which
14 is a load moving from one LSE to another. So if
15 that load was gone due to something, like
16 cannabis departure or because of a mass wildfire
17 or any sort of -- or mass adoption of behind-the-
18 meter solar because -- plus storage because of
19 public safety power shutoff fear or the Title 24
20 standards, we can't update that, and that
21 presents a problem. That presents over-
22 procurement that passes down as costs to our
23 ratepayers.

24 And so I think that would be our number
25 one request is that those forecasts are allowed

1 to reflect the most accurate data that we have in
2 a practical manner. I do understand that we
3 can't update our forecasts, you know, every day
4 or every month even, sometimes, but at least to
5 be able to provide an accurate forecast, at least
6 yearly, as close to a compliance deadline as
7 possible and not be restricted by what's
8 currently the limited definition of load
9 migration.

10 MS. MARSHALL: Yeah. To be clear, that's
11 a CPUC resource adequacy role, not a CEC role,
12 so --

13 COMMISSIONER MCALLISTER: Yeah. I mean,
14 I guess I --

15 MS. SIMONSON: Correct, but --

16 MS. MARSHALL: Yes.

17 MS. SIMONSON: -- the IEPR forecast --

18 MS. MARSHALL: Is --

19 MS. SIMONSON: -- is utilized.

20 MS. MARSHALL: -- the control total.

21 MS. SIMONSON: Um-hmm.

22 COMMISSIONER MCALLISTER: Yeah, I know.

23 I mean, the -- let's keep in mind what the
24 forecast is for; right? So it is a long-term view
25 of things. And so the PUC has a task of

1 translating that into a procurement regime;
2 right? So you know, we don't want to jump tracks
3 too much.

4 But I guess it does kind of bring up
5 another issue, just of coordination between the
6 IOU and the CCA in terms of, okay, how do we make
7 sure that we're optimizing investment in the
8 distribution grid? If you guys are out there
9 doing DR and leveling load and doing all this
10 stuff that optimizes the system as it exists, you
11 know, we want to make sure that, you know, that
12 the right hand over here is doing -- you know, is
13 coordinating with the left hand and that
14 investment decisions in infrastructure actually
15 reflect that investment pattern or that
16 forecasting need based on all the real wedges of
17 resource.

18 So I guess, I mean, I kind of wish, you
19 know, we had sort of a mixed panel here of like
20 utilities and CCAs. But I just want to register
21 that concern because like there are more kind of,
22 you know, chefs in the kitchen here. And we just
23 want to make sure everything comes out tasting
24 right.

25 MS. SIMONSON: So we do work pretty well

1 with PG&E and the ARRA forecast procedure, so
2 that's an annual procedure. We provide them an
3 initial forecast in February, an updated one in
4 September. And we do a meet and confer over 30
5 days where we talk about what there might be,
6 differences between our forecast and theirs, and
7 we come up with an agreed forecast, and that
8 works really well. And I think that that process
9 going forward to inform the baseline --

10 COMMISSIONER MCALLISTER: Yeah. Exactly.

11 MS. SIMONSON: -- IEPR forecast as it
12 relates to PG&E and (indiscernible) load and the
13 individual LSEs would work well.

14 COMMISSIONER MCALLISTER: It kind of goes
15 to the methodological question we were talking
16 about earlier. I guess Hongyan at Edison was
17 talking about this, as well, like sort of a new
18 methodological approach that involves the
19 stakeholders in an appropriate way. So anyway --

20 MS. MARSHALL: Right. So I think you
21 weren't here this morning. Edison, in the
22 context of, you know, widescale electrification,
23 is looking to the CEC to do more local
24 forecasting to support distribution level
25 planning, so a much finer level of

1 disaggregation. And then, obviously, that has
2 interactions with --

3 COMMISSIONER MCALLISTER: Yeah.

4 MS. MARSHALL: -- activities the CCAs are
5 undertaking.

6 COMMISSIONER MCALLISTER: Yeah.

7 MR. ROSS: Yeah. I think I'll take kind
8 of the programmatic view of the question and,
9 certainly, longer term. You know, I'd say those
10 distribution resources that we're talking about
11 and distribution loads are the ones to take --
12 you know, pay attention to. So as we look at,
13 say EVCE's expected EV growth by 2025, 86,000,
14 that will add about 500 gigawatt hours of load if
15 you look at it from a spherical cow perspective
16 of all those are light-duty vehicles, that's what
17 you get. Sorry.

18 COMMISSIONER MCALLISTER: You're going to
19 have to tell the Court Reporter what that meant.

20 MR. ROSS: Sure. Think of a spherical
21 cow as an old -- from Commissioner McAllister's
22 and I graduated school program, think of
23 everything as a spherical cow and you can back of
24 the envelope the cow.

25 So if those are light-duty vehicles, then

1 you're looking at 500 gigawatt hours, so it's
2 almost ten percent load growth for us. In the
3 next five years, we expect that to come online.

4 The interesting thing about that is, you
5 know, continuing on that calculation, we're a
6 1200 megawatt peaking facility. If those are 60
7 kilowatt hour batteries, that 14,000 megawatts of
8 load -- of capacity, sorry, of capacity driving
9 it. It's over ten times our peak capacity in
10 distribution batteries. So that's, you know, a
11 huge resource. How are we going to use that?
12 Can we use it wisely and start to get new EV
13 drivers who are adopting these vehicles into the
14 game, so what does that actually mean?

15 Right now, people come home with
16 residential chargers. They hit a button or it's
17 already set and their vehicle doesn't charge
18 until midnight. So Sonoma Clean Power's Grid
19 Savvy Program, it's hard to get DR when the
20 charger says it's off until midnight. How do you
21 actually mobilize that resource? And also, we
22 don't have a lot of renewables coming on at
23 midnight, last I checked. So how we, you know,
24 create the incentives and rates so that people
25 start to get in the mind of need to charge my

1 vehicle during the day if I'm home during the
2 day, fleet charging.

3 Certainly, the Electric Vehicle Incentive
4 Program, that's good dollars for DC fast chargers
5 and fleets so that we can get more daytime
6 charging. A lot of the contracts we're signing
7 for new solar and storage, you know, it's under
8 25 -- it's \$25.00 to 30 bucks. It's the cheapest
9 power you're going to get. So we need to find
10 load that can utilize that resource.

11 Similarly, batteries, about six months
12 ago when I was doing research for the Battery
13 Demand Response Program, I think there was 3.6
14 megawatts of batteries that had been
15 interconnected through the Self Gen Incentive
16 Program. There's 14 meg that's in the queue. So
17 within the next probably six months, just in our
18 territory, we're going to more than quadruple the
19 existing interconnect batteries. That's a huge
20 resource. How do we mobilize that and have it
21 play in the market? It's obviously what we're
22 trying to do on the CCAs. So basically do it
23 quickly and learn from it so that we can
24 integrate it into that forecast.

25 COMMISSIONER MCALLISTER: Lynn, are you

1 going to ask about rates, rate design?

2 MS. MARSHALL: Well, that's a good
3 question. And one of the things I've noticed is
4 that the CCAs have somewhat different rate
5 design, many of them, than the IOUs. There's, I
6 believe, no tiered rates. Can you comment on
7 how, you know, what -- how rate design might
8 factor into, you know, say electrification
9 strategies?

10 MR. ROSS: Yeah. So, well, I think most
11 CCAs are mirroring the IOU rates with some kind
12 of a discount. So most of us have three
13 products, two or three products. We have three
14 products, a Bright Choice product which a
15 percent-and-a-half cheaper, an 84 percent carbon
16 free, last year it was actually procured at 90
17 percent but 84 is what we are promising, and then
18 we have a Brilliant 100 product which is the same
19 price as the PG&E base rate but 100 percent
20 carbon free, and then a Renewable 100 product
21 which is a penny per kilowatt hour more and 100
22 percent PCC 1.

23 So a lot of us have those. They're named
24 different but they basically mirror PG&E's rates.
25 And when PG&E puts new rates on, like their

1 subscription rate for EVs, I think most of us
2 plan to mimic those.

3 So right now, you know, I think only one
4 -- I think only Monterey Bay has the ability to
5 run their own rates and disconnect those two
6 things. All of us are looking at and building
7 the capability. I think by the end of the Cal
8 year we should have that capability. I'm not
9 sure when we'll actually use it. But, you know,
10 actually starting to run our billing determinants
11 and run our own rates based off those building
12 determinants is something that all the CCAs want
13 in the long term. In the medium term, rates are
14 the best mechanism we have.

15 So how do we utilize those rates to get
16 the types of responses that we want from our
17 customers, driving, you know, low midday rates
18 for EV chargers? It seems kind of obvious. And
19 that's how the rates are moving. CCAs, I think
20 you'll see, are probably -- would take that and
21 go very aggressively down that path because it
22 aligns with our mission and how we want to see,
23 you know, at least one of those resources grow
24 quite quickly.

25 So you know, I think we're kind of --

1 we're still pretty new in that realm and
2 everyone's saddling up to try to ride that.

3 COMMISSIONER MCALLISTER: Yeah. Okay.
4 So I think this is a fundamental topic. And, I
5 mean, it's not exactly -- forecasting tends to be
6 sort of like, okay, let's try and anticipate
7 what's coming down the pike; right? And so this
8 is more of proactive policy discussion actually,
9 I think, and I'm not exactly sure what this looks
10 like. But I think the Energy Commission could
11 play a pretty valuable convening role in terms
12 of, you know, we don't do rate design, we
13 certainly don't regulate the IOUs on rate design,
14 that's all over that PUC, but I think there are
15 some emerging practices, potential best practices
16 for getting the kind of mobilization of demand
17 resources that we're going to need, that we all,
18 I think, agree in this room, that we're going to
19 need and that are coming, kind of. You know,
20 those resources are coming; right? So let's
21 figure out how to incentives the right behaviors.

22 MR. ROSS: Absolutely.

23 COMMISSIONER MCALLISTER: So I guess I'm
24 just putting that out there as maybe a
25 recommendation for the broader IEPR, maybe not as

1 part of the forecast, is that we convene a
2 conversation like that, you know?

3 MR. ROSS: Yeah. Certainly, having -- I
4 think what you'll see from CCAs is we just have
5 to go to our board. So as far as speed and
6 innovation goes, you know, that doesn't mean that
7 we're going to throw a bunch of rates out because
8 once you throw it out you've still got to manage
9 it.

10 COMMISSIONER MCALLISTER: Absolutely.
11 Yeah.

12 MR. ROSS: So that doesn't mean that
13 you're flippant.

14 COMMISSIONER MCALLISTER: No, definitely.
15 I don't mean to trivialize for sure.

16 MR. ROSS: I totally agree.

17 COMMISSIONER MCALLISTER: It's a big
18 deal.

19 MR. ROSS: But, you know, you'll --

20 COMMISSIONER MCALLISTER: And there's
21 equity issues. And, I mean, there's a lot going
22 on there.

23 MR. ROSS: Yeah, there's a lot going on
24 there. But I think you'll see that we have a
25 faster timeline, is what we would say.

1 VICE CHAIR SCOTT: Okay. Yeah. I don't
2 have any questions. But I thought, maybe, we've
3 got about three minutes, so if there was any
4 concluding remark that you wanted to make or
5 thinks that you think we ought to be thinking
6 about as we try to smartly forecast within the
7 community choice and the changes that are coming
8 between, you know, investor-owned utilities,
9 community choice aggregation, POUs, would love to
10 hear it. And if not, that's okay, too, but any
11 concluding remarks for us?

12 MS. SIMONSON: I just want to thank you
13 for inviting us to the table. It's really
14 exciting to be here and I think it's really
15 important to take -- to really utilize the CCA
16 perspective on forecasting, especially as we're
17 forecasting forward innovative advances in
18 demand-side resources, so thank you.

19 MR. ROSS: Thanks. I guess so one area
20 that we didn't really talk about or I didn't talk
21 about was efficiency, so I'll just leave with
22 that.

23 So one of the activities that we're doing
24 now is engaging with a third-party to evaluate
25 our load on a meter-by-meter basis to look at

1 kind of time-based efficiency opportunities and
2 how we might run pay-for-performance procurements
3 that are cost effective. So I like to say, I
4 have a \$6 million budget, but my procurement has
5 a \$400 million budget.

6 So the extent that we can create programs
7 that are, you know, cost neutral or cost
8 beneficial to our customers, then I get a lot
9 more money that we can play with. So that's the
10 intent of doing that baselining exercise, so that
11 we can look at what those efficiency
12 opportunities are.

13 And it's really not just efficiency.
14 It's efficiency and DERs and what are the --
15 how's the time-based approach? Because
16 flattening that load curve and matching that load
17 curve to our procurement resources and the best
18 resources and the most carbon-free resources that
19 we have, I think that's the big challenge; right?
20 So we are moving towards a carbon-free goal and
21 you have a limited set of non-dispatchable
22 resources and a very limited set of dispatchable
23 resources. So what are we going to do to engage
24 our customers in that journey? And the amount
25 of, you know, flexible resources that are coming

1 on in the form of electric vehicles and
2 batteries, you know, that's one wedge. But
3 customer behavior and response is going to be
4 another big one.

5 So again, I think you'll find CCAs to be
6 quite nimble and innovative in how we are
7 reaching out to our customers. We each have a
8 small set of customers that are geographically,
9 you know, located. And you know, we are going to
10 reach out and work with them quite
11 collaboratively because they, through their
12 elected officials who comprise our boards, are
13 pushing us to go really hard down this carbon-
14 neutral path.

15 And I will say, after spending 10 years
16 at nonprofits and then 15 years -- 10 years in
17 the private sector, it's great to have a board
18 that wants you to go faster down a path that we
19 are trying to go to create carbon-neutral
20 California. And so, you know, at my -- at our
21 board meeting in June, they threw more money at
22 local development. They said, "You should put
23 more money to that," and so that was great. And
24 now we've got to figure out where to do it. And
25 we're probably going to use it for this RA

1 program to go buy a bunch of flexible batteries.
2 So we're quite excited to have that opportunity
3 and that leadership from our boards.

4 COMMISSIONER MCALLISTER: Great.

5 VICE CHAIR SCOTT: Any last thoughts,
6 Gary? Okay. All right.

7 Well, thank you very much Lynn and
8 Rebecca and Gary and J.P. for an excellent panel.
9 We appreciate you being here.

10 We will now turn to public comments. I
11 don't have any blue cards, so I'm assuming
12 there's no one in the room who'd like to make a
13 comment.

14 Do I have anyone on the WebEx who'd like
15 to make a public comment?

16 MS. RAITT: Yes, there's one person,
17 George Nesbitt.

18 VICE CHAIR SCOTT: Okay. Is he un-muted
19 or is he typing in?

20 MS. RAITT: I think we've un-muted him.

21 VICE CHAIR SCOTT: Okay.

22 MS. RAITT: Go ahead, George.

23 VICE CHAIR SCOTT: George Nesbitt, you
24 are un-muted if you'd like to make your public
25 comment please.

1 MS. RAITT: Oh, I'm sorry. I have not
2 un-muted him.

3 Go ahead, George. If you were talking,
4 we couldn't hear you.

5 MR. NESBITT: Can you hear me now?

6 MS. RAITT: Yes, thank you. Sorry about
7 that. Go ahead.

8 MR. NESBITT: Yay, the joys. The joys of
9 being on the phone. And I'm getting an echo, so
10 you need to mute all the mikes on your end.

11 So George Nesbitt, residential energy
12 geek.

13 Must of our discussion today has been
14 around electrification. And I think that it is,
15 in a lot of ways, the right answer, getting
16 directed off of fossil fuels is absolutely
17 necessary. It's also fraught with lots of issues
18 and challenges. If we just electrify everything,
19 we're going to add a lot of electrical load. You
20 know, can the system handle it? Will we be able
21 to generate it, especially considering our goals
22 of renewable energy?

23 So a big question to ask is how does
24 electrification actually support getting to a
25 goal of high renewables and net carbon free?

1 But we're definitely going to have to
2 focus a lot on reducing energy consumption, as
3 well as load shifting is going to be so critical.
4 You know, we can hope about batteries being cheap
5 but I'm old enough to remember that they used to
6 say that nuclear power would be so cheap it
7 wouldn't have to be metered. And we know what
8 the cost of that is and we can't afford it.

9 We're going to need to diversify our
10 renewable energy mix because we are over-
11 dependent on photovoltaics and the mismatch
12 between when we use energy and when it's being
13 generated. We already had, you know, just in a
14 normal fossil fuel grid there's variations,
15 seasonal and time of day. And with renewables, I
16 think, that just becomes much harder.

17 In Tuesday's workshop someone from the
18 ISO mentioned that the load profile has changed,
19 and I don't think that's actually true. If the
20 duck curve is sort of the non-eligible renewable
21 load profile, and that has certainly changed, to
22 the extent that the ISO total load profile has
23 changed would only be a reflection of net
24 metering. And so I think in total the actual
25 load profile hasn't changed. And we need to

1 really start looking at net metering the behind-
2 the-meter and recognize it as a load, as well as
3 a supply.

4 And so I think that will conclude it for
5 now. Thanks.

6 VICE CHAIR SCOTT: Thank you.

7 Do we have any other public comment on
8 the WebEx? Okay.

9 So with that, let me let Heather let you
10 know about how to get the written comments, how
11 and when to get the written comments. We look
12 forward to hearing from everyone.

13 Go ahead, Heather.

14 MS. RAITT: Written comments are due
15 October 10th. And the notice gives you all your
16 information and it's up on this slide, too, as
17 well. So I look forward to getting those.

18 Thanks.

19 VICE CHAIR SCOTT: All right. Thanks
20 again to all of our terrific speakers and all the
21 folks on staff who helped put this workshop
22 together. And with that, we are adjourned.
23 Thank you all for being here.

24 (The workshop adjourned at 3:35 p.m.)

25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of January, 2019.




Eduwiges Lastra
CER-915

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of January, 2019.

A handwritten signature in black ink, appearing to read "Barbara Little", is written over a horizontal line. The signature is cursive and somewhat stylized.

Barbara Little
Certified Transcriber
AAERT No. CET**D-520