

<b>DOCKETED</b>	
<b>Docket Number:</b>	19-DECARB-01
<b>Project Title:</b>	Decarbonization
<b>TN #:</b>	231434
<b>Document Title:</b>	Transcript of 12-4-2019 Staff Workshop on Assembly Bill 3232 Building Decarbonization Assessment
<b>Description:</b>	STAFF WORKSHOP ON  ASSEMBLY BILL 3232 BUILDING DECARBONIZATION ASSESSMENT:  PROJECT SCOPE, BASELINE RECOMMENDATION,  AND GHG ACCOUNTING ASSUMPTIONS
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	1/10/2020 8:33:12 AM
<b>Docketed Date:</b>	1/10/2020

BEFORE THE  
CALIFORNIA ENERGY COMMISSION

In the matter of, )  
 ) Docket No.19-DECARB-01  
Decarbonization )

**STAFF WORKSHOP ON  
ASSEMBLY BILL 3232 BUILDING DECARBONIZATION ASSESSMENT:  
PROJECT SCOPE, BASELINE RECOMMENDATION,  
AND GHG ACCOUNTING ASSUMPTIONS**

WARREN-ALQUIST STATE ENERGY BUILDING  
1516 NINTH STREET  
1ST FLOOR, ARTHUR ROSENFELD HEARING ROOM  
SACRAMENTO, CALIFORNIA 95814

WEDNESDAY, DECEMBER 4, 2019

9:13 A.M.

Reported By:  
Peter Petty

## APPEARANCES

Commissioners Present

J. Andrew McAllister

Staff Present

Heather Bird

Martha Brook

Heriberto Rosales

Nicholas Janusch

Lindsay Russell, Public Adviser's Office

Other Presenters

Dana Waters, California Air Resources Board (CARB)

Nick Zanjani, California Public Utilities Commission  
(CPUC)

Delphine Hou, California Independent Systems Operator  
(CAISO)

Public Comment

Cathy Higgins, New Buildings Institute

Pierre Delforge, Natural Resources Defense Council  
(NRDC)

Edith Moreno, Southern California Gas Company (SoCalGas)

Lauren Cullum, Sierra Club California

Farhad Farahmand, TRC Companies, Inc.

## INDEX

	Page
Welcome & Overview - Heather Bird, CEC	4
Opening Remarks	
Commissioner J. Andrew McAllister, CEC	6
Status Update on Building Decarbonization Work	
Presentation by Dana Waters, CARB	10
Presentation by Nick Zanjani, CPUC	20
Presentation by Martha Brook, CEC	32
Presentation by Delphine Hou, CAISO	44
Building Decarbonization Assessment Project Scope and Timeline	
Presentation by Heriberto Rosales, CEC	56
AB 3232 1990 Baseline Recommendation	
Presentation by Nicholas Janusch	75
Public Comments and Discussion	96
Closing Comments by Commissioner McAllister	111
Adjournment	114
Reporter's Certificate	115
Transcriber's Certificate	116

## P R O C E E D I N G S

1  
2 DECEMBER 4, 2019

9:13 A.M.

3 MS. BIRD: After that, staff will present the AB  
4 3232 Assessment Scope. And you can find that in the  
5 docket under TN230838. And then, we'll have a separate  
6 staff presentation on the recommended baseline. And you  
7 can find that in the docket.

8 Good morning, Commissioner. I'm just kind of  
9 doing an overview.

10 So, the recommended baseline document is in the  
11 docket under TN230833.

12 After each staff presentation there will be a  
13 short Q&A session. And then, towards the end of the  
14 workshop there will be an opportunity for public comment  
15 and discussion. At that time we'll display eight  
16 scoping questions that were listed in the scoping  
17 document. We'll display them on the board to kind of  
18 stimulate conversation. And we are asking parties to  
19 limit their comments to three minutes.

20 For those in the room who'd like to make  
21 comments, please come up to the center podium and speak  
22 into the microphone. Please state your name and  
23 affiliation. And it's also helpful if you would give  
24 our court reporter your business card.

25 Okay. If we end up with a long line of

1 commenters, we will have our Public Adviser, Lindsay  
2 Russell, who's sitting back in the corner by the door,  
3 has blue cards. We'll ask you to fill them out and then  
4 we'll call you up one by one.

5           For WebEx participants, if you'd like to make a  
6 comment you can use the raised hand feature on WebEx and  
7 we'll call on you during the public comment period. And  
8 then, using this same feature, you can lower your hand  
9 if someone has already asked your question, or you would  
10 like to withdraw your comment.

11           And following comments and discussion, we'll  
12 wrap up and adjourn. Please note that we have a hard  
13 stop at 12:20 due to another workshop starting in this  
14 room at one o'clock.

15           Following the meeting, we'd like to -- we really  
16 would like to hear your comments. We'd like to see  
17 them. You can submit them to the docket. Let's see,  
18 I've got the docket slide. So, we'll flash this up at  
19 the end as well.

20           But let's see, you can find materials for this  
21 meeting on the website and hardcopies are on the tables  
22 out by the door.

23           There's also a sign-in sheet. We'd like to know  
24 who's here in the room. And we've got a load of people  
25 on the WebEx, as well.

1           Written comments on today's topics are due on  
2 Friday, December 19th, by 5:00 p.m. And the workshop  
3 notice explains the process for submitting written  
4 comments.

5           And, finally, I'd like to thank our participants  
6 for being here today and ask that you identify  
7 yourselves before speaking. This is helpful for  
8 everyone in the room and also for those -- for the court  
9 reporter, and also for those participating remotely.

10           And so, without further ado, I'm going to turn  
11 the mic over to Commissioner Andrew McAllister for  
12 opening remarks.

13           COMMISSIONER MCALLISTER: Great. Thank you,  
14 Heather. I'll be brief, I know we only have the morning  
15 and there's just a lot to cover. I want to certainly  
16 thank all of our presenters but, in particular, those  
17 from our sister agencies. So, thanks to you guys, I  
18 really appreciate it.

19           This topic is -- I mean, it's super interesting.  
20 All of you are here because you really care about this.  
21 And I think we're all trying to put our heads together.  
22 Part of the -- well, I was not going to make excused for  
23 being late but, you know, you have to anticipate the  
24 rain and people don't know how to drive in the rain.

25           But, actually, I was just on a call with the

1 organizer of a topic on decarbonization, of a  
2 decarbonization panel next week, at the COP, in Madrid.  
3 And, you know, we are, I think, all in a very similar  
4 position where the demand flexibility and hardcore  
5 energy efficiency, you know, the lights are going on in  
6 people's brains all over the world. Understanding now,  
7 in a much more deep way than before about how linked all  
8 of these issues are. And that we need, you know,  
9 wholesale action, and we need these aggregated  
10 resources, but that really a lot of our barriers are at  
11 the individual customer in the market.

12           And we've got to figure out how to get  
13 technology deployed properly in our buildings both on  
14 the energy efficiency front and the flexibility front,  
15 and really merge those two in a way that's optimal in  
16 order to get to our decarbonization goals. Like that's  
17 just a fundamental requirement. Otherwise, we're going  
18 to be spending too much money and we're not going to get  
19 the results that we want.

20           So, this is really the front lines of  
21 decarbonization at our buildings, I think. And there  
22 are a lot of pieces that have to kind of work together.  
23 And I think, you know, certainly these are issues we  
24 need to solve. People are looking to California to get  
25 this done. And we have a big enough economy where we



1 can move markets and get it done.

2           So, you know, I think the AB 3232 platform is a  
3 really fantastic one for this conversation. And so,  
4 that's why I'm looking forward to today.

5           I want to thank stakeholders for sort of -- for  
6 suggesting a more formal process to figure out how we're  
7 going to have this conversation because I think it's the  
8 right thing to do. So, having a formal discussion about  
9 the scope of this effort and, you know, I would invite  
10 all of you to submit your kind of aspirations about  
11 where this could end up, really where it ought to end up  
12 or where you think it ought to end up.

13           And, obviously, a lot of lifting. This  
14 interfaces with the Energy Efficiency Action Plan that  
15 is on the agenda for next week's business meeting.  
16 Unfortunately, I'm not going to be here, but I'm really  
17 happy with staff's work on that plan. I think, you  
18 know, it's a good basis for work going forward. And  
19 it's sort of the first incursion into this AB 3232  
20 discussion, which will -- which is a separate discussion  
21 and will have its own plan. But the Efficiency Action  
22 Plan I think obviously has a lot of ties with  
23 decarbonization. And so, we tried to sort of kick it  
24 off with that plan and include those themes in there,  
25 but without finishing the discussion because we knew we

1 were having this discussion.

2           So, in any case, that's kind of the context.  
3 This is -- you know, energy efficiency and certainly  
4 buildings there's a lot of detail. And, certainly,  
5 existing buildings are all different. And marketplaces  
6 just have to figure this out and we have to understand  
7 and support the marketplaces in ways that make sense.

8           So, that's a lot of what this is about. We need  
9 big capital. Capital has to come to our existing  
10 buildings.

11           Our new construction also has challenges, but I  
12 think they're different and they're, honestly, a bit  
13 easier. You know, they're not easy, but they're easier.

14           And so, yeah, all of us with our thinking caps  
15 on, hopefully, we can come up with solutions and put  
16 them in place for California. And people, you know, I  
17 know here everyday people are looking to us to get this  
18 done and to really help solve these problems.

19           And this is a message I want to take to Madrid  
20 next week and see what's happening with a little more  
21 detail, in some really innovative places in Europe and  
22 elsewhere, and really share experiences and start to  
23 strengthen those relationships. We have a lot of  
24 relationships, but strengthen them. And keep those  
25 conversations going into Scotland next year, and all the

1 international collaborations in years after that.

2           So, anyway, not to imbue this with, you know, so  
3 much gravitas that it scares people, but it kind of  
4 ought to scare us because this is the front line of how  
5 we're going to solve the climate crisis. And so, it's  
6 really important that we figure it out.

7           So, with that, you know, let's have a light and  
8 fresh discussion today. And I want to thank Heather and  
9 team for putting this together and everybody for  
10 presenting. And, hopefully, this is the start of a  
11 really good, productive and results-oriented  
12 conversation. So, thanks everybody.

13           MS. BIRD: Thank you, Commissioner. And Aida  
14 Escala's team, as well. So, this is a collaboration of  
15 two divisions that are doing a good job of working  
16 together.

17           So, let's see. So, now, we're going to have  
18 representatives from each of the agencies and  
19 organizations that we're working with. And that's not  
20 the slide I want. Anyway, I'll put up a slide.

21           And Dana is representing the Air Resources Board  
22 and she's going to start off with her presentation.

23           MS. WATERS: Thanks.

24           MS. BIRD: Thanks, Dana.

25           MS. WATERS: Okay. Good morning Commissioner

1 McAllister. I don't know if you can see me. I'm kind  
2 of short here. I'll move to the side.

3 COMMISSIONER MCALLISTER: Hey, Dana.

4 MS. WATERS: Thanks for the opportunity to  
5 provide an update on CARB's programs related to building  
6 decarbonization. Before I get started, I just wanted to  
7 say thank you to CEC staff for working so closely with  
8 us on this initial proposal to really reduce building  
9 related emissions as much as possible.

10 I'm going to touch on six topics today related  
11 to HFC mitigation, what we're doing in the upstream oil  
12 and gas sector, SB 1371 to reduce methane leaks from  
13 natural gas transmission and distribution. I'm going to  
14 touch on a commercial cooking model rule that we're  
15 going to work on. And an update on our zero carbon  
16 buildings research and the climate neutrality effort  
17 underway.

18 So, HFCs are synthetic gases. They're mainly  
19 used in aerosols, foams, air conditioning and  
20 refrigeration systems. They are thousands of times more  
21 potent than carbon dioxide. HFC emissions are the  
22 fastest growing greenhouse gas emissions globally,  
23 including in California. They currently are about 4  
24 percent of our greenhouse gas emissions inventory, but  
25 they're expected to more than double by 2030 under a

1 business as usual scenario.

2           The main reason why they're increasing so  
3 rapidly is because HFCs are used as a substitute for  
4 ozone depleting substances that were banned under the  
5 Montreal Protocol. There's also a greater demand for  
6 air conditioning and refrigeration systems with global  
7 warming causing this increase in emissions.

8           You can see the red line is business as usual.  
9 The dotted line is emissions projections with our  
10 current HFC regulations. And to counter this trend, we  
11 do have an SB 1383 target of 10 million metric tons, and  
12 that's a 40 percent reduction below 2013 levels by 2030.

13           And as you can see, in 1990 -- I don't know why  
14 this slide's looking a little funny. But in 1990,  
15 emissions from HFCs were basically negligible. And so,  
16 CARB is actually recommending a 2013 baseline for HFCs  
17 for the purpose of AB 3232 implementation.

18           So, HFC emissions from buildings represent about  
19 70 percent of those total emissions. The top two red  
20 lines are the same lines that we saw on the last graph  
21 and the blue lines are those HFC emissions relating to  
22 buildings in the context of the SB 1383 target.

23           Our current proposed HFC regulations are going  
24 to help us get down on the way to that SB 1383 target,  
25 but we're going to need all the help that we can get.

1 And even once we get to that SB 1383 target, we're going  
2 to need to reduce emissions even further if we want to  
3 get on track for our 2045 climate neutrality goals.

4 So, there is a challenge in, first of all,  
5 meeting that SB 1383 target, but also avoiding the  
6 increase in HFC emissions over the long runs. But there  
7 are a few policy ideas that we're recommending to help  
8 avoid those challenges.

9 And the first is that with the increased use of  
10 heat pumps in building electrification, we'd like to see  
11 innovation and incentivizing heat pump technologies that  
12 actually use lower global warming potential  
13 refrigerants, or even HFC free technologies, such as CO2  
14 based heat pump water heaters.

15 Building codes have also been a barrier and we  
16 need to update building codes so that we can have some  
17 climate friendly alternatives for refrigerants more  
18 widely available.

19 Another step that needs to be taken is the  
20 proper installation of refrigerants used by trained  
21 technicians, so that we know that these systems are  
22 operating efficiently.

23 And lastly, most smaller equipment vent these  
24 refrigerants into the atmosphere during their repair and  
25 end of life. So, there's a need to improve programs for

1 recovery reclamation and destruction of refrigerants.

2           So, like I mentioned, the use of heat pumps for  
3 space conditioning, clothes drying and water heating is  
4 expected to increase dramatically with building  
5 electrification. And we're concerned that there might  
6 be an unintended consequence of increase HFC emissions.

7           Our business as usual emissions projections that  
8 we showed in those prior graphs don't actually include  
9 any increased emissions from large scale adoption of  
10 heat pumps. So, that's something that we do still need  
11 to look at. And HFC emissions could increase even more  
12 if they're left unchecked.

13           So, CARB definitely supports CEC's inclusion of  
14 HFC emissions in the AB 3232 baseline.

15           So, the next topic is related to upstream oil  
16 and gas. So, fugitive leaks of natural gas are composed  
17 mostly of methane. Methane is 25 to 72 times more  
18 potent at trapping heat in the atmosphere than carbon  
19 dioxide, when looking at it from a 100 year or 20 year  
20 timeframe. However, it's important to note that leak  
21 rates vary widely. And most of the large scale studies  
22 are inventories that consider the full lifecycle of  
23 natural gas, actually show leak rates in the range of  
24 about 1 to 3 percent.

25           One of the key drivers for this major variation

1 is the fact that there are large leaks in a small  
2 percentage of sites that are responsible for the  
3 majority of emissions.

4 And you can see, as shown in this figure on the  
5 right, this example where the top 5 percent of sites are  
6 actually responsible for about 50 percent of emissions.

7 So, the Air Resources Board is funding an  
8 expansion of an oil production, greenhouse emissions  
9 estimator through a contract with Stanford. It is a  
10 software tool that's going to include an innovative  
11 fugitive model to help better estimate these fugitive  
12 emission rates in the future.

13 So, the third topic I want to touch on is  
14 related to reducing methane leaks from natural gas  
15 transmission and distribution. SB 1371 does mandate the  
16 CPUC, in consultation with CARB, to adopt rules and  
17 procedures to reduce methane emissions from regulated  
18 pipelines by 40 percent below 2015 levels by 2030.

19 In June, CPUC approved their first phase  
20 decision for natural gas corporations to implement 26  
21 best practices and develop biannual compliance plans.  
22 Their second phase decision was passed just this last  
23 August. That requires by 2025, if the gas utilities  
24 failed to reduce their methane emissions by at least 20  
25 percent, which is half of the target, by that point then



1 they will not be able to get rate recovery from their  
2 gas customers.

3           This slide shows the emissions changing over  
4 time between 2015 and 2018. You can see that there is  
5 some variation with the downward trend and the emissions  
6 in 2018 were nearly 10 percent lower than the 2015  
7 baseline.

8           We are -- we did also fund a study to establish  
9 more California specific emission factors related to T&D  
10 distribution, and particularly for customer gas meters,  
11 which represent about 25 percent of these total T&D  
12 emissions that are regulated under 1371, and we are  
13 expecting the report to be available sometime later, by  
14 the end of this year.

15           So, the fourth topic that I wanted to touch on  
16 is a commercial cooking model rule. This is actually  
17 one of the statewide actions under AB 617, and the  
18 Community Air Protection Blueprint to help reduce air  
19 pollution in heavily impacted communities.

20           While this measure is focused mainly on  
21 localized pollutants, such as particulate matter and  
22 ozone precursors, commercial cooking is also a source of  
23 black carbon, which is a short lived climate pollutant.  
24 So, there are impacts or climate impacts related to  
25 natural gas cooking.

1           So, the phase one part of this project is going  
2 to include a technical assessment. And the phase two is  
3 going to include the development of the actual suggested  
4 control measure. We're going to kick this off in 2020.  
5 But the idea here is that air districts would be able to  
6 adopt this commercial cooking model rule to help them  
7 reduce their criteria pollutants and it could also have  
8 a GHG benefit, depending upon what technologies they  
9 implement.

10           So, the fifth item I wanted to touch on is our  
11 Zero Carbon Buildings research project. WE do have some  
12 very preliminary results from the first phase and  
13 focused more on time of use and the energy wedge. And  
14 it does look like when certain measures are implemented  
15 at the building scale, zero carbon building performance  
16 is technically feasible for single family, multi family,  
17 warehouses. It is definitely more challenging for large  
18 offices.

19           We do have a community scale part to this study  
20 as well that's still wrapping up. And we hope to have a  
21 report on this project available no later than second  
22 quarter 2020.

23           So, we are also working on the climate  
24 neutrality effort for deep decarbonization by 2045. On  
25 this, I just want to point out that we are, in the very

1 preliminary stages, evaluating options on how we can  
2 reduce emissions from all the various sectors, but also  
3 increase carbon syncs. It's going to be part of our  
4 next scoping plan update. And building decarbonization  
5 is definitely part of the solution, but we are going to  
6 need early action and very aggressive action to set us  
7 on track to meet this target.

8           So, in closing, I just wanted to reemphasize a  
9 few of the points that I covered. First of all, we  
10 definitely support CEC's initial proposal. We do  
11 believe that the direct emissions accounting approach is  
12 going to require maximum action to decarbonize  
13 buildings. In particular, when we're looking at HFC  
14 emissions we do support the inclusion of those  
15 emissions.

16           We are -- we want to make sure that we manage  
17 that potential impact with lower GWP option. And I  
18 think by including it in AB 3232 scope, it will help us  
19 to keep that in  
20 sight.

21           The second point, under oil and gas, is that  
22 there are these major inventories and studies that show  
23 leak rates vary widely, which could affect the magnitude  
24 and the scale of upstream fugitive emissions from  
25 natural gas. But there are a few large leaks, in a

1 small percentage of sites that are contributing to the  
2 majority of emissions. And since there's already  
3 legislation to reduce fugitive emissions by 40 percent  
4 below 2015 levels, we support excluding both the  
5 upstream natural gas, as well as the T&D fugitive  
6 emissions from the scope of AB 3232.

7           We do look forward to partnering with you as  
8 we're moving forward on our commercial cooking rule, and  
9 as we're thinking about whether or not it's possible to  
10 achieve some of these aggressive targets. We think that  
11 some of our preliminary research does show that it is  
12 technically feasible to achieve zero carbon performance,  
13 and we need to take this early aggressive action to  
14 really help us achieve our 2045 climate neutrality  
15 goals.

16           So, thank you.

17           COMMISSIONER MCALLISTER: Thanks very much,  
18 Dana. And, really, looking forward to working with you  
19 on the commercial cooking stuff and the --

20           MS. WATERS: Yeah.

21           COMMISSIONER MCALLISTER: -- zero carbon  
22 buildings. And it's good to have, at least show  
23 technical feasibility.

24           MS. WATERS: Yeah.

25           COMMISSIONER MCALLISTER: I think that's clear

1 and, you know, hopefully, we can work with the markets  
2 to get the cost down --

3 MS. WATERS: Right.

4 COMMISSIONER MCALLISTER: -- and make it  
5 something we can include largely in the code, actually.

6 MS. WATERS: Okay.

7 COMMISSIONER MCALLISTER: Thanks.

8 MS. WATERS: Sounds good. Thanks.

9 MS. BIRD: Thanks Dana.

10 And now, we're going to have Nick Zanjani from  
11 the Public Utilities Commission.

12 MR. ZANJANI: All right. I'm quite a bit taller  
13 than Dana. I don't think you'll have a problem seeing  
14 me. All right, wonderful.

15 Good morning Commissioner and audience members,  
16 it's a pleasure to be here. I do want to echo what Dana  
17 said and that we really appreciate the close  
18 coordination with the CEC and other partner agencies.  
19 And Nick and Heriberto have been doing a great job. So,  
20 thank you very much and we're happy to be part of this  
21 process.

22 I've been asked to provide a brief overview,  
23 first, of where things stand in regards to RPS progress  
24 and energy sector emissions before going into some of  
25 the specific things that the PUC is doing to help on the

1 building decarbonization front more specifically.

2           So, I'll start off with that and then go into  
3 some of the various different programs that have an  
4 impact on the wider building decarbonization effort.

5           So, in regards to electric generation and RPS  
6 progress, everybody in this room is probably well aware  
7 we have a Renewables Portfolio Standard. And under SB  
8 100 there's a requirement that the load serving entities  
9 procure at least 60 percent of their resources from  
10 renewable generation by 2030. So, you can see the graph  
11 right there and the periods in which there is compliance  
12 required.

13           How are we doing in terms of compliance? With  
14 the three largest IOUs, you can see they're over on the  
15 side, this is 2017 for actual figures, and you can see  
16 that PG&E at that point was at 33 percent, SCE 32  
17 percent, and SDG&E 44 percent. So, incremental progress  
18 is being made.

19           And the great news is that of course, you know,  
20 whereas some of the contracts that were signed earlier  
21 on in the progress would make us blush today, we've seen  
22 a rapid decrease in the price of RPS contracts. And so,  
23 that will help us, you know, achieve our goals at the  
24 least cost possible.

25           I don't want to steal the CAISO's thunder too

1 much, since this is also in the CAISO's slide deck, but  
2 what does this all mean in terms of renewables  
3 procurement for the larger GHG picture? And what it  
4 means is what the graph shows right there. Each year we  
5 are seeing steady decreases in the amount of CO2  
6 emissions associated with the grid. And so, that's a  
7 wonderful thing.

8           Why is that? Obviously, a large reason for that  
9 is that renewables re displacing natural gas generation  
10 and other fossil generation, and that is a significant  
11 reason. You can see natural gas generation is down 30  
12 percent from 2001. But I think something that's lost  
13 when having this conversation about GHG emissions  
14 intensity of the grid is that it's not just RPS  
15 displacing fossil, it's also that the natural gas,  
16 itself, is getting less carbon intensive and more  
17 efficient.

18           And so, you can see on this graph right here  
19 that the natural gas emissions associated with just the  
20 natural gasoline itself is down 40 percent. And you're  
21 seeing that the more -- the steam turbines are largely  
22 being displaced by CCGGs and other things. They're just  
23 much more efficient, which helps us achieve our GHG  
24 goals, which is a great thing.

25           So, that's kind of where things stand in regards

1 to the electricity situation. And that's significant  
2 because when we talk about building decarbonization we  
3 so often talk about electrification, and electrification  
4 is obviously not the only means by which we achieve  
5 building decarbonization, but it's a significant and  
6 very prominent means right now. So, obviously, when we  
7 switch to more electrified buildings we want to make  
8 sure that we're taking advantage of everything that  
9 electrification accomplishes in terms of GHG reductions.

10 So, what are we doing more specifically at the  
11 PUC in regards to building decarbonization? We do have  
12 a proceeding, our 1901-011, and we are currently in the  
13 first of four phases in that proceeding that will help  
14 us get on a path towards, you know, more steadily and  
15 rapidly decarbonizing California's building stock.

16 Phase one of the proceeding is simply  
17 implementation of a bill from 2018, by Senator Stern, SB  
18 1477. And it authorizes the PUC to implement two new  
19 pilot programs, BUILD and TECH. BUILD is targeting new  
20 construction and is primarily focused on new low income  
21 construction.

22 TECH is designed mostly to provide upstream and  
23 midstream incentives to not necessarily transform the  
24 market, but help develop the market and get it ready,  
25 and in a place for more genuine market transformation in



1 the near future.

2           So, we have had workshops on SB 1477  
3 implementation. We have released a staff proposal per  
4 the scoping memo. There is a commitment, or at least an  
5 aspiration to release the proposed decision by the end  
6 of this year. So, with any luck we'll be successful in  
7 that endeavor, but no promises.

8           For phase two, this is targeting the wildfire  
9 rebuild. We have kind of ad hoc efforts underway that  
10 have come from utility proposals and in conjunction with  
11 local CCAs, like Sonoma Clean Power, to provide  
12 incentives in areas that have been devastated by  
13 wildfires and other natural disasters for people to  
14 rebuild, and to rebuild in a way that the homes are less  
15 carbon intensive.

16           So, as we move forward, we want to have a regime  
17 in place, essentially, so that we don't have to rely on  
18 advice loader filings, and scrambling at the last minute  
19 whenever we're responding to a wildfire. When we want  
20 to help people rebuild and rebuild with a less carbon  
21 intensive home, we want to just have a framework in  
22 place by which if something tragic happens and,  
23 hopefully, this happens less often moving forward, but  
24 if something tragic happens all of the IOUs already know  
25 what they need to do. And we hope that we can design

1 those guidelines and rules in place so that moving  
2 forward we actually have more subscription to these  
3 services, rather than the fairly low uptake that we've  
4 seen so far, particularly in Sonoma.

5           Phase three of the building decarbonization  
6 proceeding will deal with the things that are not  
7 necessarily incentive specific and how we can, you know,  
8 consider specific program policies and rules to incent  
9 builders to choose Title 24 compliance pathways that  
10 maximize greenhouse gas emissions reductions.

11           Phase four is kind of the catchall in our  
12 proceeding, where we've identified some few specific  
13 things, such as rates and what we can do to change the  
14 way that rates work to better incentivize less carbon  
15 intensive buildings. But, also, other things, permanent  
16 structure in place, perhaps, that we can implement, so  
17 that rather than just relying on the initial four years  
18 of the pilot programs that we'd be introducing, we'd  
19 have a permanent regime in place that we could rely on  
20 to accomplish our goals.

21           So, that is the building decarbonization  
22 proceeding. I wanted to touch on a few other efforts.  
23 Some of you might be familiar with our San Joaquin  
24 Valley Disadvantaged Communities pilot, which came out  
25 of a bill from 2014, by Assembly Member Henry Perea.

1 The intention behind this proceeding was not actually  
2 decarbonization itself. It was more social justice and  
3 providing accessible energy, clean energy and less  
4 reliance on wood burning stoves and propane in  
5 communities that don't have the natural gas  
6 infrastructure built out to them in the San Joaquin  
7 Valley.

8           Nevertheless, as we've moved forward through  
9 this proceeding, the outcome has largely been one that  
10 has involved electrification. And so, we have a  
11 decision in place and we are working with the investor  
12 owned utilities to start rolling out these incentives,  
13 and covering these communities. The proceeding  
14 initially identified 170 relevant communities. But for  
15 the purpose of the pilots that we're rolling out, it  
16 applies to only 11 pilot communities initially. And  
17 then, we'll see how those programs go and then build off  
18 of that.

19           But what we learned from the electrification  
20 effort will be really, really helpful to us as we  
21 explore other electrification options not necessarily  
22 specific to the San Joaquin Valley or to disadvantaged  
23 communities, but it's something for us to learn from and  
24 to look out for.

25           I wanted to note briefly that, you know, there

1 was a decision that passed this September that made some  
2 modifications to the Self-Generation Incentive Program.  
3 And while we typically think of that today as more in  
4 terms of storage, I wanted to note for people that the  
5 recent decision also applies to thermal hot water  
6 storage as well. And this is significant because it  
7 applies to the heat pump technologies that are coming on  
8 the market. And some of them that are grid enabled are  
9 able to manage load more effectively. And I think the  
10 graph is demonstrative of some of the potential we can  
11 see if we have those grid enabled storage devices  
12 incorporated into our heat pump hot water heaters. So,  
13 that's something just to keep an eye out, and incentives  
14 that are available that are relevant to the  
15 electrification effort more broadly.

16           Of course, as I mentioned earlier,  
17 decarbonization is not just about electrification. It's  
18 also about, you know, decarbonizing the gas supply as  
19 well. And we wouldn't preclude things such as, you  
20 know, hydrogen, and fuel cells, and other things that  
21 have the potential to help is the effort of  
22 decarbonizing buildings.

23           But I wanted to make a quick note about  
24 renewable natural gas and where things stand in regards  
25 to what the PUC is doing to help further the viability

1 of renewable natural gas.

2 SB 1383, through that process we did approve six  
3 pilot programs to kind of prove the viability of dairy  
4 biomethane interconnection injection. So, that will  
5 help in the broader effort to decarbonize the gas  
6 supply. But there is nothing about the gas that  
7 ultimately gets fed into the pipe through that process  
8 that is going to be attributable for building  
9 decarbonization. All of that gas is for off take  
10 agreements for the use in transportation. So, it's not  
11 building decarbonization specific, it just has  
12 applications that could apply down the road.

13 SB 1440 could very well lead to a gas supply  
14 that's decarbonized and attributable to buildings. So,  
15 that's something that's kind of in the process. And the  
16 language from SB 1440 was recently incorporated into  
17 phase four of our 1302008 literally verbatim, and it's  
18 quoted right there.

19 Furthermore, SoCalGas and SDG&E have filed for  
20 an opt-in green gas tariff, which is also something that  
21 the Commission is exploring. So, we hope to kind of be  
22 fighting this fight for building decarbonization on all  
23 fronts, not just electrification.

24 Dana already talked about refrigerants quite a  
25 bit, but it's so significant that I just want to

1 reiterate it one more time. If you look at the  
2 documentation that was prepared by CEC staff for this  
3 workshop, it's very clear that refrigerants are growing  
4 exponentially. And if you think electrification in and  
5 of itself is going to accomplish our decarbonization  
6 objectives, it's not. We need to switch to low GWP  
7 refrigerants and we need to switch as soon as possible.

8           There as a bill in 2018 that had requirements  
9 for a variety of different agencies. But insofar as the  
10 PUC is implicated, it has us developing a strategy for  
11 including low GWP refrigerants and equipment that's  
12 funded through the Energy Efficiency Program.

13           This summer, we did bring a staffer on board who  
14 has expertise in this area and then, we expect action to  
15 begin on this topic in earnest in early 2020, in the  
16 efficiency proceeding. But nevertheless, we are doing  
17 several things currently in regards to promoting low GWP  
18 refrigerants.

19           I would note that a very recent staff proposal  
20 in the IDER proceeding would propose factoring in  
21 refrigerant GWP into the avoided cost calculator. That  
22 hasn't been approved yet, but it's something that staff  
23 has proposed.

24           And then, in the staff proposal for SB 1477  
25 there is a kicker incentive for low GWP refrigerant

1 equipment in the BUILD Program. So, it's something  
2 that's small in the staff proposal, but it's a  
3 significant component of it.

4           This next slide is just an overview of the  
5 various different refrigerants in common use today. And  
6 if you can see that, it's very clear three tiers here in  
7 regards to refrigerant and common use. You can see that  
8 the very low GWP, kind of the 0 to 4, CEC defines low  
9 GWP as 150 and below. Then, you can see the middle  
10 tier, that kind of 583 to 733, if you will. And I would  
11 classify that as kind of middle tier, medium, moderate  
12 GWP because the recent ARB proposal that's on the table  
13 would essentially say nothing above 750 will be  
14 permitted after 2023. So, and then everything over 750  
15 is what we really classify as high.

16           And the downside, as Dana already pointed out,  
17 is that the high GWP refrigerant is, unfortunately, the  
18 refrigerant in most common use. And so, as you can see,  
19 you know, R410A that is the standard for space heating  
20 heat pumps. R134A is the standard for heat pump hot  
21 water heaters. And so, if we can transition to those  
22 lower GWP refrigerants, we're going to be in a much  
23 better position to achieve our GHG goals.

24           And then, very quickly, I have two slides on the  
25 recent fuel substitution decision. This is not

1 necessarily specific to building decarbonization but,  
2 nevertheless, the three-prong test that the fuel  
3 substitution test replaced was identified by many in the  
4 environmental community and beyond as a major obstacle  
5 towards achieving our GHG goals.

6           And so, with this recent decision that was  
7 passed this August, we'll be in a better position to  
8 allow people, who want to, to transition from natural  
9 gas appliances to highly efficient, low GHG electrical  
10 appliances and take advantage of all that that has to  
11 offer.

12           So, this is a major change in the way our  
13 operations are going to be working. And we look forward  
14 to seeing how it all plays out.

15           And this second slide is simply kind of more of  
16 an overview as to what fuel substitution is all about,  
17 what it is, what it's not.

18           So, thank you very much that is the end of my  
19 presentation.

20           COMMISSIONER MCALLISTER: Thanks very much,  
21 Nick.

22           MS. BIRD: Thanks Nick. And so, now, we have  
23 Delphine Hou from the California Independent System  
24 Operator. Is she in the room?

25           Okay. Okay, so, we'll go to Martha Brook from



1 the California Energy Commission. And if Delphine  
2 arrives, she'll go after Martha.

3 COMMISSIONER MCALLISTER: Are we in touch with  
4 Delphine, by the way?

5 MS. BIRD: I don't think we've heard from her.

6 COMMISSIONER MCALLISTER: Great.

7 MS. BROOK: Good morning, everyone. I've been  
8 asked to give a summary of the Energy Commission's  
9 efforts on building decarbonization.

10 Many of you have been with us in this room for  
11 IEPR discussions on building decarbonization. So, this  
12 presentation is going to quickly just cover all the  
13 related activities, just like the other agencies did, to  
14 give the context for all things related to building  
15 decarbonization that we're working on.

16 And that doesn't work. Which one of these  
17 things makes the -- okay, so I'm going to cover updates  
18 that we either have already done, planning to do, intend  
19 to do on our long standing regulations that will impact  
20 building decarbonization, implementation of new  
21 legislation, some of which you've heard bits and pieces  
22 of already from our sister agencies. The key  
23 assumptions that we're using right now for our current  
24 electricity emission intensities, and this is a result  
25 of ongoing analysis here at the Energy Commission, along

1 with collaborative discussions with our sister agencies  
2 in a Fuel Substitution Working Group that was launched  
3 out of our SB 350 doubling of energy efficiency efforts.

4 And then, ongoing research and development  
5 because we have a well-funded program here in  
6 California, and we're lucky to have it, and it's really  
7 in tune with our policy needs. And so, of course,  
8 they're funding many relevant activities that will help  
9 us in our journey on building decarbonization.

10 So first, our regulations, Building Energy  
11 Efficiency Standards. We're working towards in our  
12 current standards a performance compliance path for all  
13 electric systems. We mostly have this in place. We  
14 have a couple wrinkles to work out in multi-family  
15 buildings that want to use large, central heat pump  
16 water heating systems. A few things like that that  
17 we're working on right now.

18 And then, in the future standards, we're  
19 proposing for 2022 an going forward from there, a new  
20 source energy metric that will really align nicely with  
21 emission reductions, we think. And so, that will be a  
22 big step forward in terms of really focusing on the  
23 energy that's used in buildings and how it relates to  
24 emission reductions, and other environmental impacts.

25 Our Appliance Energy Efficiency Standards is

1 ongoing and we have just recently been blessed with  
2 recent legislation from Senator Skinner, AB 49, which  
3 adds demand flexibility to the scope of our future  
4 appliance standards. So, now, we'll begin to think  
5 about which -- how appliances sold into the State of  
6 California can help us with our demand flexible goals.  
7 And this as Andrew -- or, Commissioner McAllister has  
8 pointed out, a big emphasis on successful building  
9 decarbonization will be our ability to shift loads.

10           And to that point, we have just recently opened  
11 and adopted an order instituting rulemaking in November,  
12 on our Load Management Standards Update. The focus here  
13 will be on strategies and technologies to shift electric  
14 loads for emission reductions and cost savings. These  
15 regulations apply to all load serving entities in  
16 California. So, you could imagine a future when these  
17 regulations are updated where all utilities in  
18 California will be required to find technologies and  
19 employ strategies that we deem to be more cost effective  
20 than a traditional generation resource.

21           So, Commissioner McAllister is leading that  
22 effort and we're excited to integrate the potential  
23 impacts of those standards in our AB 3232 analysis.

24           New legislation, SB 350 in 2015 asked us to --  
25 the Energy Commission to assess the potential to double

1 energy efficiency by 2030. It also increases the  
2 Renewable Portfolio Standard, which we heard about, to  
3 60 percent by 2030.

4 1477, which we also heard about from the PUC,  
5 provides \$200 million over four years for low emission  
6 residential new construction and existing residential  
7 heating. And I think that because we're collaborating  
8 so well with our sister agencies that we'll be able to  
9 actually influence how 1477 rolls out, based at least  
10 partly on the analysis that we'll be doing for 3232.

11 So, for example, we anticipate that building  
12 system efficiency and envelope performance will play a  
13 big role in successfully rolling out clean heating  
14 technologies. And so, if we get that analysis in front  
15 of the PUC early, then they'll be able to influence the  
16 rollout of the existing building portion, the TECH  
17 program of 1477.

18 SB 100 -- oh, then, 3232, obviously is what  
19 we're talking about today. And SB 100 is a hundred  
20 percent zero-carbon resources for electricity retail  
21 sales by 2045. And I'll demonstrate how that's  
22 connected to building decarbonization in the coming  
23 slides.

24 So, this is something that I put together, the  
25 next two slides, as a way to sort of figure out what all

1 these different moving parts, how they fit together and  
2 how they apply to our clean energy policy goals.

3           So, this chart is meant to describe the sector  
4 scope of our policy instrument. So, SB 100 at the top,  
5 it covers all of our demand sectors. Because one of the  
6 things we have to do in SB 100 is to reach the clean  
7 energy goals we have to do as much as we can on the  
8 demand side, and show how low carbon technologies and  
9 systems influencing transportation, commercial,  
10 residential and our industries in the state are going to  
11 change the demand that will need to be met with zero-  
12 carbon resources. So, SB 100 covers all sectors.

13           3232, what we're talking about today, just  
14 covers residential and commercial buildings. There are  
15 obviously buildings in some industries, in agricultural  
16 processes, and to the extent they're related to our  
17 commercial building efforts they will also be covered.

18           SB 1477 is only a residential program, but  
19 that's strategic. Because as we've talked about in  
20 previous workshops, huge amounts of building  
21 decarbonization will need to be met by the residential  
22 sector. So, that's a great place to start in our  
23 incentive program mechanisms.

24           SB 350, doubling energy efficiency, applies to  
25 residential, commercial, industry and AG. Our Load

1 Management Standards, again, can address all demand  
2 sectors and ways to shift load to reduce the cost of  
3 generation in the state.

4 Our Building Standards traditionally cover  
5 residential and commercial buildings. We have dipped  
6 our toes into covered processes, so processed energy  
7 that are used in commercial buildings are covered in the  
8 Building Standards.

9 Appliance Standards typically cover residential  
10 and commercial buildings. We're also doing things in  
11 larger, you know, large fan systems that apply to  
12 industry and, of course, our water pumping for our water  
13 efficiency. We can potentially stretch into  
14 transportation in the Appliance Standards, but we have  
15 yet to do that.

16 And then, research development, for obvious  
17 reasons covers all sectors. And we're glad it's doing  
18 that because there's lots of R&D that's going on in the  
19 state that's helping our clean energy goals across all  
20 those demand sectors.

21 Another important way to look at the policy  
22 framework here in the state is to look at the planning  
23 horizon of each of the policy instruments. And I didn't  
24 include the regulations on this slide on purpose because  
25 in my opinion, and I think it's true, they're all

1 relatively short term. Because to successfully  
2 implement regulations, at least in the State of  
3 California, you have to prove they're going to be cost  
4 effective and to have little to no impact on, negative  
5 impact on businesses in the state. And the only way to  
6 do that is to actually have real, current information  
7 about costs and impacts.

8           So, in our Building Standards, for example, we  
9 can't assume that something is going to be cost  
10 effective in ten years and to set a building standard it  
11 has to be cost effective at the time that the building  
12 standard takes effect.

13           But the good part is regulations are updated  
14 routinely, especially our Building and Appliance  
15 Standards. And I think going forward our Load  
16 Management Standards will also be updated more  
17 routinely.

18           But for these pieces of legislation, we also  
19 have an obligation to update the planning that goes into  
20 these periodically, and one way or another, mostly  
21 through our Integrated Energy Policy reporting process.

22           So, just as a summary, 1477 is a relatively  
23 short term project. The funding is only for four years.  
24 We don't expect -- we expect the program will run longer  
25 than four years because it will take time to roll out

1 and engage the market in ways that are successful. But  
2 in terms of planning, it's relatively short term.

3           And what's shocking to me is that SB 350 and AB  
4 3232 are also relatively short term. So, even though  
5 2030 -- it used to sound like it was a long ways away,  
6 it doesn't sound like it's a long ways away anymore.  
7 It's ten years. So, those goals become really important  
8 and really, really challenging, especially in comparison  
9 to SB 100, which has got a very, obviously a much more  
10 aggressive goal, but we have 15 extra years to  
11 accomplish it. And so, that we're looking at that zero-  
12 carbon resources for electricity target in SB 100 is  
13 2045.

14           So, the next two slides are meant to introduce  
15 you to the newest version of our electricity emission  
16 intensities. We'll be using these assumptions in our  
17 322 analysis. We've introduced these emission  
18 intensities in previous building decarbonization  
19 settings. We'll continue to update these. And they've  
20 been, like I said, a point of discussion in our  
21 collaborative efforts with our sister agencies.

22           So, first, just for our most recent work, the  
23 assumptions that we're making on the demand side is that  
24 it's a -- it was introduced on Monday as a pseudo or a  
25 quasi AB 322 demand scenario. So, it doesn't -- it's



1 not an emissions based assumption. It's basically  
2 saying, well, close enough would be if we reduced our  
3 natural gas consumption in 2030 to 40 percent below  
4 1990. So, that's what we've modeled for our demand is  
5 that we've reduced gas consumption and replaced it with  
6 electricity at those levels.

7           We've also assumed that electric heat pumps  
8 replace gas, space and water heating. So, that means  
9 that the relative efficiency of those electric  
10 technologies are potentially, probably, at least 3X  
11 better than the gas equipment efficiencies that they're  
12 replacing.

13           But we haven't assumed any building envelope  
14 efficiency improvements and we haven't assumed any load  
15 shifting. So, it's in some ways a worst case scenario,  
16 because we know we're going to do better than that in  
17 our 3232 analysis. But it also kind of just says -- it  
18 also says what could happen to the grid, to the impact  
19 on the grid if we shifted that, you know, huge amounts  
20 of gas consumption to electricity. With reasonable  
21 estimates of what we would expect for efficiency,  
22 without additional, you know, efforts by us and others  
23 to actually do things that we know are smart, but would  
24 be harder to do, and will take more market  
25 transformational efforts besides just equipment

1 replacements.

2           On the supply side, we're assuming that we're  
3 meeting the SB 350 goal of 60 percent RPS by 2030. For  
4 the docket, I'll add an additional assumption that I  
5 should have added to this slide and that is that in the  
6 production cost modeling there's 1,200 megawatts of  
7 batteries assumed, so that we can keep the same levels  
8 of the reserve margin that we typically use for our  
9 planning purposes.

10           We are recommending a long term marginal  
11 emission intensity framework for our 3232 analysis. And  
12 this is important because it reflects the changes in  
13 generation resources needed to meet, you know,  
14 significant demand changes that we anticipate will be  
15 needed for 3232.

16           And then, a final assumption is that our out-of-  
17 state renewables is 80 percent emission free and 20  
18 percent is the ARB default stated there.

19           And this is one version of the data. Another  
20 version that I'll stakeholders love is this one I shared  
21 with Commissioner McAllister. This will be in the  
22 docket. I asked the tableau expert too late to get an  
23 indoor slide deck. But we want you to grab this and use  
24 it because it's great eye candy and it's a very powerful  
25 image.

1           So, this is the same data. And I think what's  
2 important in this perspective of the emission intensity  
3 visualization is how it compares to the straight blue  
4 line, which is the gas reference. So, many months  
5 everything is -- and as you can see in this thing, many  
6 months all of -- everything's blue. Blue is below gas  
7 and orange is above gas on this heat map.

8           So, but then winter and spring months there are  
9 shoulder hours that are significantly, at least 2X above  
10 that gas reference. And this super important for our  
11 building decarbonization work because those are largely  
12 the hours that we use space heating and also water  
13 heating, which are our two biggest fuel substitution  
14 measures that we'll be considering for 3232.

15           So, in other words, it's not a slam dunk that  
16 our grid renewable. We still, as we've heard, need to  
17 think about efficiency, demand flexibility, and then  
18 this, obviously, doesn't include the impacts of  
19 refrigerants.

20           So, I'm not going to be able to go through all  
21 of our great research, but I've included, I think, six  
22 slides from both the Building Energy Efficiency Research  
23 Group and our Energy Related Environmental Research  
24 Group. So, I wanted you to have them in your -- they'll  
25 be in your docket and they're in your slide presentation

1 that you can grab, if you haven't already.

2 I'd say that everything that we've talked about  
3 already, low HFC, low GHG -- you know, global warming  
4 potential refrigerant research is included in our  
5 building research group. Both gas and electric, both 3  
6 to 5X efficiency improvements on space and water heating  
7 slide. So, there are such things as gas heat pumps, and  
8 they do a great job reducing gas consumption, so they're  
9 also included in our buildings research program.

10 On the environmental research side we are  
11 focusing on leakage. And most of the great work --  
12 this, actually this image actually comes from work that  
13 EPIC funded to really -- to the point that Dana was  
14 making about the point sources. You know, a limited  
15 number of point sources have the -- you know, 80 percent  
16 of the methane leaks was identified through one of our  
17 research projects here in the state.

18 And we also have expanded kind of the control  
19 volume around the gas system to include both the meter  
20 leakage and the wellhead leakage. So, we're doing our  
21 best to assess all of that and collaborating with CARB  
22 to the extent possible, so that once we have peer-  
23 reviewed, really foundational research, then they can  
24 start to include those leaks in their inventory  
25 assessments.

1           And that is all I have. Again, lots of research  
2 I'm not going to go through now. I think I covered it  
3 at the level that I need to right now, and that's all.

4           MS. BIRD: Thank you, Martha.

5           So, Delphine has arrived. So, come up,  
6 Delphine. Delphine Hou from the California Independent  
7 System Operator.

8           MS. HOU: All right, good morning. This is  
9 Delphine from the California Independent System  
10 Operator. I'm the Director of California Regulatory  
11 Affairs. And appreciate the staff here for being  
12 flexible on my timing.

13           So, I'm here to talk a little bit about AB 3232  
14 in context of grid operations. And I want to start off,  
15 maybe, with an introduction about what the California  
16 Independent System Operator is because we're unlike the  
17 other folks, who have presented before me, in important  
18 ways, but we also are very close collaborators in much  
19 of what we do. And much of what we do is derivative of  
20 what the regulatory agencies do. So, it's a very  
21 important feedback that we have.

22           So, I'll start off with what we are. So, first  
23 and foremost, we're a balancing authority. And that's  
24 simply just to balance supply and demand to make sure  
25 everyone's lights are staying on and to ensure system

1 reliability and security.

2           But beyond that, we also are a regional  
3 transmission planner. So, that includes transmission  
4 planning across the major investor owned utilities in  
5 the state, as well as municipal utilities, and  
6 independent transmission owners. So, we do have that  
7 very large scale overview. In fact, we do cover, for  
8 our balancing authority area, which includes our  
9 regional planning we do cover 80 percent of the state.  
10 So, it's a significant amount to have that ability for a  
11 wide range overview. And as I'll get to my later  
12 slides, you'll kind of see why that feedback is  
13 important to get that snapshot of the state and for most  
14 of the footprint.

15           In addition to that, we're a market operator.  
16 That's also another very important function that I'll  
17 talk about later on and how this relates to AB 3232, and  
18 what kind of feedback that could provide. But we do  
19 operate a wholesale electricity market. It includes  
20 ancillary service functions as well. But we're the only  
21 one in the Western United States. And we also operate,  
22 now, the Western Energy Imbalance Market, which extends  
23 beyond the State of California borders into many  
24 footprints in the rest of the West. But that's also  
25 another important factor to consider and I'll mention

1 that a little bit later on in my slide deck.

2           Okay, just adjusting that. At least someone's  
3 video didn't come up. And last, but not least, we  
4 recently became a reliability coordinator for the  
5 majority of California, and we also do cover 87 percent  
6 of the load in the Western United States. So, again,  
7 reliability from a different perspective, but this time  
8 around beyond the balancing area footprint into a wider,  
9 a larger view of the rest of the West. And that,  
10 increasingly so, will have some impact.

11           And as Martha was talking before, we are a net  
12 importer. And so, what happens in other states does  
13 impact what we do here.

14           So, that's a tee up what we are. But also, very  
15 importantly, I do want to tee up what we are not. We  
16 are not a load serving entity. We don't procure  
17 resources. We don't have load. We don't meet resource  
18 adequacy requirements, though we do work very closely  
19 with the CPUC in the resource adequacy program. There  
20 is an explicit handoff between their program and the  
21 resources that operate in our market. That tie between  
22 us is called a must offer obligation. So, resources  
23 that are in the RA program, importantly, have to be  
24 offered into the CAISO market. So, we have visibility  
25 and we can use the resources that the state has spent

1 money to procure for.

2           In terms of transmission or generation, even  
3 though we do a lot of the planning and we look at how  
4 the flows are on the system, we don't own any of those  
5 resources. So, that is a very important factor in the  
6 "I", in the California Independent System Operator name.  
7 We are independent because we don't own generation or  
8 transmission. And not responsible for performing  
9 physical switching or maintenance.

10           Similarly, on the distribution side there is a  
11 differentiation there where we also don't plan on the  
12 distribution side. Whereas on the transmission side we  
13 do regional planning, even though we don't own the  
14 assets, on the distribution side we don't own nor do we  
15 do planning. So, that's also very important because  
16 much of what we're talking about here will happen on the  
17 distribution side and kind of bubble up to the  
18 transmission level.

19           And then, we are -- unlike the other agencies,  
20 we are not a regulator. We don't regulate utilities or  
21 any of our participants in our market.

22           So, those are important differentiations because  
23 I think a lot of the issues that we're talking about  
24 here, especially the programs for example that Martha  
25 was mentioning, those are things that the California ISO



1 won't necessarily directly have visibility to. But I  
2 think because of the collective impact, we definitely  
3 will feel that at the grid level.

4           And just for a status check in of where we are  
5 right now, we are working very closely with the CEC and  
6 the PUC, and increasingly so with the Air Resources  
7 Board. So, the first step is really the demand  
8 forecast.

9           So, what Martha has mentioned is that there is  
10 this, now, look there's a framework, and kind of a what  
11 would fuel substitution look like in the future? What  
12 would the impacts of, you know, really policies? All of  
13 that really is embedded in the core managed scenarios,  
14 as well as sensitivities within the demand forecast.

15

16           So, the California ISO relies on the CEC to  
17 provide that demand forecast. And as such, it flows  
18 into the CAISO. And so, at the CAISO, we do a lot of  
19 planning for local capacity, for flexible capacity, as  
20 well as overall transmission planning for the 80 percent  
21 of the state that we oversee. As well as, on the CPUC  
22 side, the same forecast is flowing into their assessment  
23 for resource needs.

24           And we do iterate and work with the PUC back and  
25 forth between that. So, at minimum, we'll all

1 consistent in our foundational assumptions of what the  
2 forecast is so that if we are, for example, talking  
3 about a future where there is going to be a lot of fuel  
4 substitution, a lot of switching from gas to electric  
5 and we want to understand, well, what does that scenario  
6 look like and how does it impact, at minimum and working  
7 with the CEC we can use the same foundational demand  
8 forecast and put that through all of our separate  
9 processes.

10           Beyond that, we also now have the Integrated  
11 Resource and Procurement Plans at the Public Utilities  
12 Commission. That's another important factor. And that  
13 also flows back into the CAISO planning structure and  
14 everything feeds back together, again, to the demand  
15 forecast for the demand side impacts.

16           So, that's just how we work with the state  
17 agencies. And then, obviously, as we're walking through  
18 the Integrated Resource Plan, for example, there's a big  
19 role for Air Resources Board in establishing the GHG  
20 targets.

21           And those are just highlighting some of the  
22 reliability based analyses that the CAISO performs.

23           So, over the years we obviously not only are  
24 living within the context of the state policies, but  
25 we're actively supporting them. How do we integrate

1 more renewables onto the grid? How do we take state  
2 policies and make sure they flow well with reliability,  
3 and how they work in concert?

4           And this is just a summary of some of the  
5 progress that we've made. But definitely, the graphic  
6 at the bottom, you know, since 2014 we've seen year over  
7 year, month over month decreases in GHG emissions  
8 associated with the load that the CAISO is serving  
9 within the 80 percent of our footprint. And that's  
10 really a testament to the state's GHG reduction  
11 policies.

12           As well as, you know, at the same time what's  
13 somewhat invisible is that through it all we've kept,  
14 we've maintained reliability. And you can see the  
15 latest data point that we have is the line at the very  
16 bottom, which is 2019 data. And you can see that  
17 trending fairly nicely.

18           The only hiccup that we had there was in 2018,  
19 in July, we had a particularly high demand load and so  
20 we were back to relying much more on natural gas  
21 resources. And you can see very clearly that when that  
22 happens the GHG does increase.

23           But another point I want to kind of link back  
24 together between CAISO's markets are operations,  
25 reliability, and how this all feeds into what could be a

1 good feedback loop for AB 3232, and other, potentially  
2 other state policies is looking at our CAISO operations.

3           So, this is, I think as CAISO folks have often  
4 noted that we never leave home without our duck. So,  
5 this is our infamous duck curve. And what you can see  
6 is in the blue behind is that's the load that the CAISO  
7 can perceive net of behind the meter, solar typically.  
8 So, that there's that little bit of a dip in the middle  
9 of the day. But the very low line, which is the net  
10 demand, is all of the in front of the meter solar, the  
11 high voltage connected solar and wind, and other  
12 renewables that is helping to serve load, especially in  
13 that middle part of the day. But obviously, as the sun  
14 sets at the end of the day, you do see that pretty  
15 aggressive ramp up.

16           And these two snapshots are taken from April  
17 21st, and there's a reason why I pulled that very  
18 specific day. But there's April 21st, sort of a spring  
19 snapshot and that aligns pretty well with the graphics  
20 that Martha was showing you about the different  
21 emissions intensities changes across the month, across  
22 seasons. And then, below that is the summer.

23           So, you can see that that duck shape isn't  
24 necessarily there in summertime because our energy use  
25 is very different and a little bit of our resource is

1 slightly different.

2           But what's interesting is that if I'm looking at  
3 these two graphs, I can talk a lot about what the CAISO  
4 needs operationally. We need more ramping resources at  
5 the end of the day, when the sun sets we need to ramp  
6 up. And then, we need some resources to serve load when  
7 it's actually net peaking, which is more later in the  
8 evening, around the 7:00, 8:00 p.m. timeframe.

9           Interestingly enough, when we pull the emissions  
10 that go with that, we're looking at pretty much the same  
11 curve. And we think that is very important because what  
12 we're trying to message is that the grid needs aligns  
13 really well with where the emissions reductions can  
14 occur.

15           And if I were to put pricing along this, where  
16 we're operating the market, the pricing will also align  
17 where the highest prices are on those peaks in the early  
18 morning and the late evening. So, that the incentives  
19 are aligned. If we have technology, we have programs  
20 that are really trying to target reduction in emissions  
21 they're also able to help us operationally with ramping.

22           So, in our selfish CAISO needs that's great for  
23 us operationally. But also, pricing wise that's also  
24 the highest prices during our market. So, all of that,  
25 between the pricing, the emissions, the operations

1 aligns really well.

2           And you can see that similarly in the graphic in  
3 the summertime. Again, it tracks more so that net  
4 demand shape. And so, that's another nuance we want to  
5 put in there is that as we're looking at programs or,  
6 you know, incentives or what consumers are adopting, we  
7 also need to be aware that this graph, this shape  
8 changes with time, with season. So, that's just another  
9 factor. And I think Martha touched upon that as well,  
10 in her presentation.

11           So, we're engaged with this. Obviously, we  
12 aren't at the front lines of much of what's going on.  
13 But I think in having this data, in ensuring reliability  
14 we provide a good feedback to what's going on more so at  
15 the retail distribution side, and then feeding that back  
16 into the wholesale, and having that information back out  
17 to the public.

18           COMMISSIONER MCALLISTER: Hey, Delphine let me  
19 just jump in.

20           MS. HOU: Sure.

21           COMMISSIONER MCALLISTER: So, just to be really  
22 clear. So, thanks for all this data. I mean, I think,  
23 you know, the ISO is just an extremely, just great  
24 collaborator in all of this just because you have such  
25 insight into trends and, you know, have a very data rich

1 toolbox, which is great.

2 I guess, just to be clear, you're talking about  
3 price aligning at the wholesale level, right?

4 MS. HOU: That is correct.

5 COMMISSIONER MCALLISTER: So, that's a  
6 conversation, if we want load shift at the retail level,  
7 then we need to kind of have the conversation about how  
8 we align up and down the chain, right, all the way  
9 through the consumer?

10 MS. HOU: That's absolutely right. I think  
11 we've taken some initial steps with time of use rates.  
12 So, the new time of use rates, at least on the IOU side,  
13 but also it aligns fairly well with SMUD for example,  
14 that 5 to 8 for SMUD or the 4 to 9 for most of the  
15 Investor Owned Utilities, aligns fairly well with what  
16 we're seeing here as the big ramping need overnight.

17 I think what we're maybe less aware of is that  
18 morning ramp. That's going to be probably, potentially  
19 more prevalent in the wintertime, as we're talking  
20 about, you know, taking -- maybe transferring space  
21 heating from gas to electric. So, that's something,  
22 maybe, we'll have to think about further down the road.

23 But at minimum, you know, we understand that  
24 there might be that disconnect between retail consumers,  
25 the prices they see on the wholesale side. But at

1 minimum, there will always be that wholesale signal that  
2 can help inform whatever retail structure occurs later.

3           And the one thing I wanted to note is the reason  
4 why I pulled April 21st is because that was one of the  
5 few days, it's few but we might be increasing that in  
6 the future, where not only the line has touched zero  
7 there -- I don't know if folks can see the line down  
8 here. That's the zero line. So, really, it actually  
9 dipped below it. So, really, that's a moment where  
10 that's a real opportunity there.

11           So, you can see that, you know, with loads not  
12 necessarily very high in California, but with all the  
13 renewable production that we have, we're actually  
14 exporting it out. And so, we think that that could be a  
15 great opportunity for whatever programs to think about  
16 what those opportunities might be in future.

17           All right, with that, thank you so much for your  
18 time.

19           COMMISSIONER MCALLISTER: Thanks Delphine.

20           MS. HOU: Sure, thank you.

21           MS. BIRD: Thanks Delphine.

22           So, we're going to take a five-minute stretch  
23 break and really, literally five minutes.

24           COMMISSIONER MCALLISTER: We don't have a lot of  
25 time, so if we can come back quickly, that would be



1 great.

2 MS. BIRD: Yeah. Great, thank you.

3 (Off the record at 10:26 a.m.)

4 (On the record at 10:45 a.m.)

5 MS. BIRD: So, our first staff presentation is  
6 Heriberto Rosales and he's going to talk about the  
7 scoping document.

8 MR. ROSALES: Thank you.

9 MS. BIRD: And we have made a decision to use  
10 blue cards today. So, when we get to the last section  
11 of comments -- so, we're going to have two staff  
12 presentations. Each presentation will have a short  
13 comment period or question period directly associated  
14 with those presentations. And then, after those  
15 presentations and comment periods, we're going to have a  
16 public, kind of open Q&A discussion period.

17 During that last final section, we'll have blue  
18 cards. So, in order to get a blue card, there's a  
19 Public Adviser sitting back here, Lindsay. And you can  
20 get a blue card from her, fill it out, and give it back  
21 to her, please. Thank you.

22 MR. ROSALES: Thank you, Heather.

23 Good morning. Good morning everyone.

24 Commissioner, good morning. Wow, a big crowd.

25 So, my name's Heri Rosales, Heriberto Rosales.

1 I think I've met a lot of the folks in the room, either  
2 in person, in meetings, or in a phone call. So, thanks  
3 for coming out today. I'm going to walk everyone  
4 through our proposed scoping plan for this project. I'm  
5 going to go over the main framing points.

6 I want to remind everyone that the assessment  
7 work is we're assessing the potential to reduce carbon  
8 emissions from the building sector. So, this is not a  
9 hard requirement. We will develop suggestions and  
10 strategies to how to reach that 40 percent reduction by  
11 2030. So, I wanted to make sure we had the right  
12 mindset when we think about this in those terms.

13 I also want to remind folks that this is a  
14 proposed scoping document. So, we're leaving the door  
15 open for your comments, and your feedback, and your  
16 input on any one of many items that we're suggesting.  
17 By no means do we think that, obviously, this is set in  
18 stone yet. Your feedback is definitely appreciated.

19 So, with that, let me get started with where  
20 we're at. Let me start with the policy framework for  
21 the work here. So, AB 3232 was signed last year, passed  
22 in the Assembly, and signed by Governor Brown, actually,  
23 last year. So, the bill directs CEC to assess the  
24 potential to reduce GHG emissions from the building  
25 sector.

1           So, we're collaborating with our sister  
2 agencies, CPUC and ARB, on emission data and also some  
3 of our framing assumptions. So, I want to thank them  
4 for helping us out because they've actually been  
5 instrumental in helping us get to this point. And they  
6 will continue working with us as we work through this  
7 study.

8           So, the final assessment report is actually due  
9 to the State Legislature by January 1st, 2021. So, we  
10 have the balance of next year to work through this  
11 report, developing a draft, work with everyone here in  
12 the room and our stakeholders to get input, and then try  
13 to finalize it by the end of the year.

14           So, it's regarding building decarbonization,  
15 which is going to be essential for California, to help  
16 California meet its 2030 decarb goals, as well as 2045  
17 carbon neutral goals.

18           The assessment will report on all associated GHG  
19 buildings in the building sector, and that's the main  
20 focus here on demand side, demand side energy. We are  
21 tracking GHG emissions associated with also the supply  
22 side energy, and I'll get to that in a minute, for both  
23 residential and commercial buildings. So, we're doing  
24 that by fuel type and those requirements will be part of  
25 future reporting requirements under this bill.

1           So, we're using the 40 percent emissions  
2 reduction as your benchmark for 2030. Nothing  
3 necessarily prohibiting us from going above that. But  
4 again, we're assessing the potential to be able to reach  
5 that by 2030.

6           So, the reduction target is also embedded in SB  
7 32 that was passed in 2016 as a reduction limit for  
8 statewide emissions for all sectors.

9           So, again, that's just some of the policy  
10 framework.

11           Okay, so how does CEC view the potential to  
12 reduce these emissions? So, the building sector, as you  
13 know, is very large and very complex. It's  
14 interconnected with both the natural gas and the  
15 electric supply grids.

16           So, beginning in 2018, the CEC IEPR, in our IEPR  
17 report we estimated that the building sector was  
18 responsible for about 26 percent of statewide greenhouse  
19 gas emissions, when you take the wider context into  
20 account, when you take both the supply and the demand  
21 side into account.

22           We followed up a chapter this year, a building  
23 decarbonization and energy efficiency chapter in this  
24 year's draft IEPR. And we're proposing a multi-faceted  
25 solution for achieving optimal building decarbonization.

1 So, it's the graph you see up on the chart up there.

2 So, in the near future we're going to definitely  
3 see net increases and most of that's being driven by  
4 clean energy supply for the state, and that's good news.  
5 Again, the focus that's going to be here is how do we  
6 clean up the demand side from the building sector.

7 So, decarbonization, as we proposed in this --  
8 we talked about in this year's draft IEPR is best  
9 optimized when we're alongside clean energy policy, as  
10 well as flexible equipment. And I want to thank the  
11 presenters before because they were touching on some  
12 very key points, policy points and movement in terms of  
13 creating flexibility in some of our buildings and also  
14 some of the appliances.

15 So, one, offsite starts with clean energy. It's  
16 the first bubble you see up there, the clean supply  
17 bubble. So, renewable sources are generating cleaner  
18 electricity, as well as we're also including renewable  
19 natural gas sources to meet building loads. For us,  
20 this helps address decarbonization from the fuel side.  
21 So, again, we're open to ideas and suggestions on the  
22 clean supply side.

23 Onsite, so we're also look at deep efficiency.  
24 There's been some reports on this, speaking about the  
25 fact that we're still relying on energy, deep energy

1 efficiency to help us reach a lot of our decarbonization  
2 goals for the building sector. So, we continue to  
3 believe that energy efficiency is going to be key in  
4 helping us solve decarbonization. So, we're leveraging  
5 energy efficiency through state standards and policy  
6 goals. And I think Martha did a good job of touching on  
7 some of the work that we're doing on that side. As well  
8 as, you know, some requirements from SB 350 to double  
9 the energy efficiency savings for both natural gas and  
10 electric appliances. Especially in the light that in  
11 the next ten years obviously building loads for both  
12 these fuels will continue to increase.

13           On the technology side, demand flexibility's  
14 going to play a greater role, and we're relying on that  
15 to help us meet our decarbonization goals. So, it will  
16 help us aggregate load so equipment can be flexible, and  
17 it can be virtually dispatched to respond to grid  
18 conditions, which achieve multiple goals. It helps us  
19 match demand and supply in a much smarter way. It will  
20 help us optimize energy usage on an hourly basis, on top  
21 of efficiency alone. And for sure, it's going to help  
22 us reduce carbon emissions both on the system side and  
23 also at the building location.

24           So, decarbonization for us is an overarching  
25 goal. It leaves the door open for different strategies

1 to be able to achieve carbon reductions. So, CEC is  
2 open to, again, ideas and recommendations on  
3 decarbonization solutions from all stakeholders here,  
4 and also joining us on the WebEx seminar today.

5 Okay. So, let me get into the framing points  
6 for the report. So, again, the AB 32 asked us to  
7 specify and focus on the residential and commercial  
8 building stock for the assessment.

9 So, for GHG emissions measurement CEC is relying  
10 on a lot of the data that's coming from our sister  
11 agency, the Air Resource Board's inventory datasets.

12 On the residential building side, the unit  
13 information that they also use is actually supplied by  
14 California's Department of Finance on data for  
15 residential housing. And in the recent estimate, just  
16 to give everyone here an idea, there's an estimate, the  
17 2018 estimate is there's 14.1 million housing units  
18 statewide. Just to give you an idea of how wide the  
19 context here is on the residential building side.

20 Residential units are inclusive of single family  
21 units, multi-family units, and in addition include  
22 mobile homes, as well as long-term housing occupancies.  
23 For example, hotel and motel, for the hotel and motel  
24 segments. So, it's a wide sector that we are accounting  
25 for.

1           On the commercial building side, we are using  
2 the North American Industry Classification System, the  
3 NAICS data system. And we're using just their  
4 commercial building code. So, for those of you who are  
5 familiar with it, it's the ones that are inventoried  
6 under the 400 Code. And so, that's important to know  
7 because that doesn't account for a lot of the industry,  
8 heavy industry buildings. Those are in a different code  
9 and so those are not going to be part of this report.

10           I'm going to touch on the emissions baseline  
11 briefly, because we have a separate presentation on  
12 this. My colleague, Nick Janusch is going to walk us  
13 through this.

14           But again, this is another important framing  
15 point to the report. So, the proposed assessment is  
16 going to be using a tailored 1990 emissions baseline.  
17 That will estimate 40 percent of the building sector  
18 reductions by 2030.

19           The graph up here is just illustrative. Again,  
20 Nick will go through a more detailed analysis, we've  
21 already started with. But again, these are the two  
22 building segments that we will be assessing.

23           The graphic -- anyways, and Nick will -- well,  
24 I'll leave the rest to Nick because he'll go through the  
25 methodology and GHG emissions in detail, how we're



1 counting that.

2           So, the other -- another framing point is we're  
3 going to be doing emissions and modeling. Again, some  
4 of the earlier presentations were kind of touching on  
5 some of the data and information from the system side.  
6 And we are going to be keeping track of this. It's  
7 going to be -- and Nick will walk through this as well,  
8 but it will be different from the baseline.

9           But some of the considerations here for future  
10 years are going to vary under different energy  
11 scenarios. For example, CEC will utilize different  
12 emission models to estimate reductions at scale, will  
13 input for fuel substitution scenarios in the building  
14 sector, for both residential and commercial as segments,  
15 and also the building sector as a whole.

16           It will view the differences to the system  
17 emissions as fuel substitution impacts. You know, shift  
18 load away from some of the natural gas load over to the  
19 electric load in future years. And we're calling this  
20 the incremental electric increase.

21           And then, we'll also continue reporting on the  
22 hourly emission intensities from the system as a whole  
23 for the building, again just for the building sector as  
24 decarbonization at the building level is going to  
25 trigger upstream changes.

1           We'll also be reporting on impacts and  
2 strategies. Again, and this is going to be what a lot  
3 of folks look for in terms of, you know, proposed  
4 solutions. But a lot of this is taken straight from the  
5 bill, as well, the direction within AB 3232. So, we'll  
6 be utilizing first the baseline model to project  
7 different scenarios for building emission reductions.  
8 We're going to incorporate low shifting impacts for both  
9 residential and commercial sector to the extent  
10 possible.

11           So, some of the important -- some of those,  
12 we're trying to keep these very localized because some  
13 of the impacts are going to be very direct on different  
14 stakeholders. So, for building owners, for example.

15           We'll be doing analysis for different building  
16 types, new versus existing, to understand deep  
17 decarbonization barriers a little bit better.

18           As part of this analysis we'll consider  
19 appropriate cost effectiveness test across different  
20 building types and also how they impact building owners.

21           Ratepayers are also very important here. We'll  
22 be measuring potential cost impacts of building  
23 decarbonization strategies on ratepayers, natural gas  
24 and energy customers alike because fuel substitution  
25 between fuels is expected to bring a lot of future rate

1 changes, so we're going to try and estimate for that.

2 Another important group, the low income, the  
3 folks, residents of low income housing, and also  
4 residents who live in disadvantaged communities. So,  
5 low income housing tenants and residents are vulnerable  
6 to fast changes because they don't have the final say in  
7 changes to the actual building. So, that's why they're  
8 going to be very important to understand, even though  
9 they are utility customers.

10 So, the multi-family housing market is diverse  
11 in itself. For example, restricted rental housing is  
12 publicly subsidized and provides an easy outreach  
13 audience for us.

14 Private multi-family housing in DAC communities  
15 are totally different. They're managed by a different  
16 set of incentives. So, the market barriers and policy  
17 barriers that impact them are going to be much higher at  
18 the onset for clean energy programs, so we're going to  
19 try and jump into that and understand what those  
20 barriers are and the level of sensitivity there.

21 Another important segment that's come up  
22 recently, at least this year is the workforce segment.  
23 So, we're going to be studying possible risks to  
24 impacted workforce groups, in particular the natural gas  
25 pipeline workers that might be vulnerable as a result of

1 large shifts in fuel substitution.

2           We'll also be looking to understand grid  
3 reliability a lot better. So, CEC will estimate  
4 expected shifts to hourly loads under different  
5 decarbonization scenarios. This is the area where we'll  
6 consider the potential for load flexibility that's going  
7 to be very important here to help accommodate load  
8 growth and decarbonize demand.

9           CEC is going to be utilizing lots of different  
10 information, both with respect to emissions data and  
11 some decarbonization information and reports that have  
12 already been published in the last 18 months or so.

13           So, in general, we can bucket the information  
14 into either A, the emissions data or, B, studies on  
15 building decarbonization that already contain proposed  
16 policy or mitigation measures.

17           So, let me speak on the emissions data first.  
18 As you all know, we're relying heavily on the CARB  
19 emission data to -- with respect to fuel and GHG  
20 emissions by sector. So, we call that out in the  
21 scoping document that we docketed. And a lot of that,  
22 we're using the most current GHG emission data in there  
23 from the 2017 Emissions Data and Trends Report.

24           But we're also open if, again, stakeholders feel  
25 that we might be undercounting, or we're missing GHG

1 data that's out there in the world, by all means, again,  
2 we are open to consider additional data and see how they  
3 work together.

4 Under decarbonization studies, we're using --  
5 there's been a lot of really good work on this and I  
6 want to give credit to all the folks out there who've  
7 done a lot of hard work, like I said in the last 18  
8 months to publish reports under this topic.

9 One of the first important references for us was  
10 the 2018 IEPR that first published, you know, some of  
11 the work, some of the framing work for building  
12 decarbonization. So, I want to mention that. So, we're  
13 building off of some of the work that was done there and  
14 we're continuing it under this bill direction.

15 So, some of the stuff that we're going to  
16 consider under the policy framework for the report  
17 information is we're going to be looking at increased  
18 renewable energy supply, and we're also going to be  
19 accounting for doubling the energy efficiency under our  
20 SB 350 mandates. So, we've even been looking at, you  
21 know, support for natural carbon sequestration programs  
22 that have been found in some of the recent publications.

23 One other very important report that was out  
24 there that's, again, serving as an important reference  
25 point for us is the CEC E3 Pathways Report that was

1 published last year, and it developed different  
2 scenarios for carbon reductions, and it takes into  
3 account different mixes of energy efficiency, renewable  
4 power and building technology in order to meet building  
5 decarbonization reduction goals.

6           And for those folks -- in this presentation, I  
7 don't got the full list of all the studies, but in the  
8 scoping document that we docketed, we do got the list  
9 that we're using there. And so, again, for those who  
10 are interested there, I would reference you back to the  
11 scoping document.

12           Here's an overview of our schedule for  
13 activities for starting now and continuing through next  
14 year. So, starting with this workshop, we hope to have  
15 additional workshops from the first two quarters of next  
16 year on different issues. Some of the impacts and  
17 strategies that I mentioned in the previous slide are  
18 potential workshops that we gather more input from some  
19 of the stakeholders here.

20           We hope to, we're looking at drafting the  
21 report, the first assessment somewhere around the middle  
22 of next year, early, maybe the early part of the quarter  
23 next year. I might be being hopeful, but if we do that,  
24 we'll be on track to complete the report.

25           And then, we'll definitely have a workshop on

1 that draft report, again to be able to collect more  
2 comments and then report some of our findings, and  
3 discuss some of our strategies for reaching the  
4 decarbonization goals. And then, we hope to wrap up the  
5 assessment by the fourth quarter of next year.

6           So, this is going to be -- definitely it's going  
7 to be a public process through this whole project.  
8 We've got a docket dedicated just for this report now.  
9 So, for those who might not know it's open, this is the  
10 assignment number for the docket. It's 19-DECARB-01.  
11 That's the proceeding docket.

12           And here are the associated Listservs, so that  
13 way you can get email notifications on the docket. It's  
14 the Existing Buildings Listserv, the Climate Change  
15 Listserv, and the Natural Gas Listserv.

16           The public stakeholders are always welcome to  
17 submit comments on the docket, whether it's questions or  
18 ideas to the docket. Everyone has the ability to use  
19 the docket for those purposes.

20           For this workshop, though, we're closing the  
21 comment period, both on December 19th. So, it's  
22 possible we can extend that, depending on the amount of  
23 comments we get back. But for the comment period for  
24 this workshop, for us to be able to just -- both the  
25 baseline and the scoping document, we are proposing

1 closing it on December 19th. Keep that in mind. And if  
2 there's an extension, by all means reach out to us.

3 So, there's two staff lead right now on this  
4 work. Myself, my name's on the left right there, and  
5 that's my office number. And then, Nick Janusch is  
6 going to follow with his presentation right now, he's  
7 there on the right, his office number and his email.

8 So, we welcome, again, public input on the  
9 project. We're striving to keep everybody informed on  
10 progress of this report. Please visit, you know, please  
11 visit our proceeding webpage to find the docket. And,  
12 you know, again, it's a 15-day comment period which  
13 closes on the 19th and extensions are definitely  
14 possible.

15 We're interested in receiving any responses to  
16 any or all of the following scoping questions. I think  
17 we're going to post those scoping questions at the end.  
18 So, that is it for my overview on the scoping.

19 MS. BIRD: Yeah, so we can do some quick  
20 clarification questions, probably until about 11:05, you  
21 know, if we have those questions. At this point, we're  
22 just going to ask you to come up to the podium. And if  
23 there's multiple comments, you can kind of queue up in  
24 that aisle. But we'll keep this kind of brief. And  
25 then, after Nick's presentation and short comment



1 period, we'll have a more open and public comment period  
2 that will operate through the Public Adviser blue cards.  
3 Thanks.

4 MS. HIGGINS: I can do that. Cathy Higgins,  
5 Research Director, New Buildings Institute. Thank you,  
6 Mr. Rosales.

7 I'm just interested particularly around your  
8 description of optimizing decarbonization and the three  
9 bubbles you have, for two reasons. I'm wondering if  
10 you're going to be modeling the building location as an  
11 attribute of the building, in terms of its impact on  
12 decarbonizing, or if that's a merge later with your  
13 transportation section.

14 And on the same topic of transportation, I think  
15 you need to be more forward facing about technology  
16 interruption and the presence of EV charging versus just  
17 deep efficiency, because of the factor that buildings  
18 are now going to have this completely new technology  
19 that increases energy use that isn't a decrease of an  
20 existing technology. So, I wonder about the factors of  
21 the EV impact. Thank you.

22 MR. ROSALES: Yeah, real quickly on those two  
23 points. So, we've had discussions and I think we're  
24 planning to use some regional approach to understand the  
25 differences. Obviously, in California, not all

1 buildings across the state are built and designed the  
2 same.

3           So, we haven't gotten into that level of  
4 sensitivity and analysis yet, but we definitely got the  
5 discussion. I think we're probably preparing ourselves  
6 to understand what decarbonization means. Obviously,  
7 you know, coastal areas versus some of the inland areas.  
8 So, I would expect us to be -- to study that.

9           On the transportation EV charging you're  
10 correct, that's actually part of some of the language in  
11 the bill as well. So, to the extent that that's  
12 infrastructure inside the buildings, even connected to  
13 some of the commercial building meters, I think we're  
14 going to be taking a look at that for future years to  
15 understand, especially understand the load shift.

16           And then, as we also continue to track the  
17 system overall in context, I think we're going to  
18 definitely be looking at to see where shifting, not only  
19 energy loads, but also shifting emissions back onto the  
20 system and away from the buildings.

21           So, I don't know if that fully answers your  
22 question, but yeah.

23           COMMISSIONER MCALLISTER: So, I guess what I  
24 would encourage everyone to do is try to -- including  
25 staff, is to try to be precise about -- well, backing

1 up. You know, we don't have to have -- we don't have to  
2 solve all of these problems, you know, in the same time  
3 frame. So, I think, you know, it may be that a  
4 recommendation about how we do locational analysis may  
5 be a part of this initial -- you know, it's data  
6 intensive. There are some tools out there, there's  
7 some, you know, data requirements that we would need to  
8 do it in this building or maybe there are, you know,  
9 entities, third parties that can do it outside of this  
10 building.

11 But I think that's a key issue. And, you know,  
12 I guess the overarching issue really is the value of  
13 flexibility, what is it? And so, in order to really  
14 make solid recommendations, we're going to need to do  
15 that work. And so, what's the level of the  
16 recommendation? I don't know. It kind of depends on  
17 where we are today, and where we think we need to go,  
18 and what tools we need in the meantime. It's a really  
19 good question in terms of, you know, how we frame this  
20 particular study for the particular timeline that we  
21 have.

22 Any other clarifying questions about the scope  
23 that Heri has presented? Okay, so, I guess we'll go  
24 ahead with Nick. I think some of these boundary  
25 questions Nick might actually talk about as well, so

1 we'll see.

2 MR. ROSALES: Thank you.

3 COMMISSIONER MCALLISTER: Thanks, Heri.

4 MS. BIRD: Thanks Heri.

5 So, now, Nick Janusch is going to present the  
6 baseline recommendations.

7 MR. JANUSCH: All right, good morning  
8 Commissioner McAllister. Good morning everyone. Thank  
9 you all for being here, including those on WebEx.

10 My name is Nicholas Janusch. I'm in the  
11 Analysis Office. And today I'm going to present the  
12 full scope of the emissions we considered for the  
13 baseline, and our decision, as well as a discussion of  
14 each emission, why we chose them, and a discussion of  
15 what the cost curve is. And then, have some time for  
16 questions and answers.

17 And so, before I begin, I want to thank staff  
18 from ARB and CPUC in the development of this baseline  
19 recommendation. It was a very much iterative process  
20 and so, their feedback was very productive for me in  
21 doing this, in creating this document. And this  
22 document is online. It's more technical than my  
23 presentation, so please refer to it regarding the  
24 methodology for how we estimated these emissions.

25 So, to take a step back. So, the legislation

1 asks us to assess the potential to reduce GHG emissions  
2 in the state's residential and commercial building stock  
3 by at least 40 percent below 1990 levels by 2030.  
4 That's easier said than done. There is, when it comes  
5 to ARB inventory, it's not clean of here's residential,  
6 here's the commercial sector, including all the GHG  
7 emissions there. They're all kind of spread out in the  
8 categorizations.

9           So, here I have the categories of the emissions  
10 we considered. And as you can see, some are reported  
11 for residential and commercial buildings in the ARB  
12 inventory. And one of the complications with looking at  
13 the inventory, there are two. There is a 1990 to 2004  
14 series and there is a 2000 to 2017 series, and they are  
15 not continuous. So, we had to make assumptions of going  
16 back from what we have today to establishing 1990  
17 levels.

18           So, with this, it was a bit of a garden of  
19 forking paths, where it was a very contentious,  
20 difficult decision with our baseline recommendation.  
21 And for better or worse I've created three categories.  
22 I have core building emissions, and so fuel combustion  
23 and refrigerants. Another category of methane  
24 emissions, so looking at different levels of production,  
25 transmission distribution at the meter and then the

1 leakage behind the meter. And then, what to do with the  
2 electricity emissions.

3           So, on the very far right you see what we  
4 actually included in there. And to be clear, this  
5 baseline recommendation will likely evolve by the time  
6 of completion. And we know this for sure when it comes  
7 to current research being conducted right now. By early  
8 spring we should have more information about behind-the-  
9 meter leakage, leaks in commercial buildings.

10           So, with our decision, this is more of an  
11 illustrative view of the baseline, and here are the  
12 emissions that we are including. So, the blue is the  
13 fuel combustion emissions, orange is the refrigerants,  
14 and green is the behind-the-meter leaks, and the purple  
15 is the electricity emissions.

16           And what you're seeing here on the far left is  
17 the 1990 baseline, 2017 is the most recent reported  
18 emissions from ARB, and then the 2030 target. So, doing  
19 the math, the target for 2030 is 27.5 million metric  
20 tons of carbon dioxide emissions.

21           So, four observations to make here, looking at  
22 this figure is, one, that total emissions, at least what  
23 we're accounting for in the baseline have increased  
24 since 1990. And the other observation, the second one  
25 is that as was mentioned in earlier presentations that

1 HFCs, these refrigerant emissions have increased  
2 significantly since 1990. And looking at the 2030  
3 target, I have it a bit ambiguous here but, really, when  
4 we're looking at the target is the suite, the aggregate  
5 amount of each of these categories must be below 27.5.

6 And this bottom box here, this is, as Heri  
7 mentioned, these incremental electric loads from fuel  
8 substitution activities.

9 COMMISSIONER MCALLISTER: Nick, just a quick  
10 question. So, on the 1990 baseline, I mean there were  
11 -- let's see, I guess there's no data about the  
12 refrigerants from 1990 or is there some fundamental  
13 change between then and now?

14 MR. JANUSCH: I will get into that.

15 COMMISSIONER MCALLISTER: Okay.

16 MR. JANUSCH: I did not report the number. But  
17 for 1990 the amount of emissions was .01 million metric  
18 tons, so it's very much negligible. It's almost zero  
19 for 1990.

20 COMMISSIONER MCALLISTER: Let's see, is that --  
21 let's see, maybe I'm missing something here. But I mean  
22 there were lots of air conditioning units in 1990.

23 MR. JANUSCH: But those were CFCs.

24 COMMISSIONER MCALLISTER: Oh, right.

25 MR. JANUSCH: But this was based on --

1 COMMISSIONER MCALLISTER: Gotcha.

2 MR. JANUSCH: So, there's some accounting when  
3 it comes to ARB's inventory, CFCs are not included.

4 COMMISSIONER MCALLISTER: But you'll get into  
5 that.

6 MR. JANUSCH: Yeah.

7 COMMISSIONER MCALLISTER: Thanks.

8 MR. JANUSCH: All right. So, going back to kind  
9 of these categories of core buildings, the methane  
10 emissions and electricity emissions, it kind of gets to  
11 the good, the bad, the ugly when it comes to the  
12 decision process and the comfort that it was when making  
13 this final recommendation.

14 So, starting with the good, where there was no  
15 contention is fuel combustion. So, across the  
16 inventories it was continuous. And what's actually nice  
17 to see is that total emissions have decreased since 1990  
18 levels. But according to our preliminary IEPR forecast,  
19 when we're looking at both the residential and  
20 commercial natural gas end us that we are forecasting,  
21 compared to 2017, an increase in consumption of natural  
22 gas. And that's mostly due to the commercial sector.

23 And looking at fuel combustion, so natural gas  
24 use, so about 90 percent of these total fuel combustion  
25 is due to natural gas, that this really is the target



1 emissions that we're trying to reduce for AB 3232.  
2 They're going to be the core focus when looking at  
3 activities.

4           So, still on the, I guess, good side, so we are  
5 including refrigerants and other high global warming  
6 potential gases, but there is a bit of some hand waving  
7 here, since ARB does not account for ozone depleting  
8 substances. And those are CFCs, since the Montreal  
9 Protocol banned them.

10           And because of that we have -- they included ODF  
11 substitutes. And so, because of including those two, we  
12 have basically negligible value of emissions at 1990  
13 levels.

14           And another thing that was complex was in the  
15 1990 through 2004 series, the emissions were not called  
16 out for the specific sectors, so we had to estimate for  
17 those sectors.

18           And as was really highlighted earlier, that with  
19 our friends from CPUC and ARB is that the HFCs emissions  
20 are forecasted to increase substantially. This is  
21 really, almost a penalty doing fuel substitution  
22 efforts, but we need to account for them. And this is  
23 going to really be a driving, be a focus of our analysis  
24 as well.

25           And to look at what's happening here on the

1 right, so this is from ARB's latest report looking at  
2 trends in emissions. So, here in the red that's what's  
3 actually included in the GHG inventory. And the yellow  
4 are those CFCs that were banned from the Montreal  
5 Protocol, that are not included in the inventory. So,  
6 total emissions have decreased, but it's really the red  
7 that's increasing there.

8           So, getting to the, I guess on the bad side, so  
9 methane emissions. And the issue here is the data  
10 availability. And as you saw on my original slide with  
11 the table, that ARB does not report specifically for  
12 buildings for production leakage, transmission  
13 distribution and at the meter. It's only for, and it's  
14 only recently that for residential buildings it's the  
15 behind-the-meter leaks are the ones that are being  
16 reported.

17           And here, and I forgot to mention, so with the  
18 HFCs there's already ongoing work, legislation. SB 1383  
19 is handling HFC emissions. And then, on the production  
20 side looking at this upstream, natural gas leaks there's  
21 SB 1371 that was touched on. And so, that's being  
22 managed on that side.

23           So, there is contention here of whether we  
24 should exclude these emissions or whether we should have  
25 some non-zero attribution, but we feel comfortable

1 leaving those out. And if you go further upstream and  
2 really focus on the building sector.

3 But, obviously, staff is open to updating the  
4 baseline and we'll want some consultation from our  
5 sister agencies as well. And if we're going to change  
6 the baseline recommendation, we'll discuss it at a staff  
7 workshop. But when you're providing us comments and  
8 feedback from this presentation, and my document, and  
9 this workshop please provide like a very data-driven,  
10 you know, construction recommendation of why we should  
11 include a certain emission.

12 This gets to what I kind of characterize as the  
13 ugly. This was a very complex and contentious issue. I  
14 know staff have been on both sides of this, but how to  
15 handle electricity emissions. And I would summarize,  
16 this is me summarizing, how this issue kind of came up  
17 is first of all it was a question of how do we handling  
18 electricity loads from fuel substituting activities?  
19 So, should they be included?

20 Two is the, all right, what's going to be the  
21 impact of SB 100 and how that's going to affect the  
22 study and the feasibility of attaining the 2030 target.

23 And then the last part is, so if we are, you  
24 know, maybe limiting the amount of electricity emissions  
25 how do we capture those deep decarbonization efforts in

1 looking at demand flexibility and other demand side  
2 management strategies to make sure they're captured, and  
3 being assessed, and included in the study.

4           So, let me walk you through. Well, that didn't  
5 come up the way I wanted it to. So, looking at the  
6 first, so obviously we want to include electricity  
7 emissions in our assessment, and that's because we don't  
8 want these emissions to shift to some other sector and  
9 not be accounted for. So, we are looking at these  
10 incremental emissions from the increased electrical  
11 loads from fuel substitution activities.

12           My colleague, Mike Jaske, spoke at the workshop  
13 this Monday, December 2nd, to discuss the tool where  
14 we're going to be looking at these incremental electric  
15 loads.

16           So, the next point is looking at this SB 100  
17 issue and seeing, all right, what is going to be the  
18 impact of the cleaning of the grid? And with our own  
19 analysis we found that -- you know, with the assumption  
20 of a cleaner grid, more aggressive RPS that there will  
21 be probably less abatement needed at the building  
22 sector, the buildings themselves. And that they might  
23 be relying on just getting to the target on efforts  
24 going on in different sectors. So, we feel comfortable  
25 leaving electricity emissions out of the 1990 value.

1           And then lastly, looking at the abatement cost  
2 analysis. And so, if we are just looking at the  
3 incremental electricity emissions then that's leaving  
4 out, you know, the potential of just doing traditional  
5 energy efficiency at those homes that are not  
6 participating in fuel substitution activities. We are  
7 going to, with our abatement cost analysis capture  
8 those. So, we're going to be looking at the holistic  
9 approach of the full potential of GHG reductions from  
10 the building sector. And I'll get more into that later.

11           All right. So, this is a graphical view of if  
12 we were to include electricity emissions in the 1990  
13 baseline, so that's the purple. And one thing to note,  
14 compared to that original simplified figure I showed  
15 earlier is that when we include these emissions in 1990  
16 that we are below the 1990 level. Unlike if we had our  
17 more aggressive -- our aggressive recommendation we are  
18 above.

19           And with our own analysis, looking at our IEPR  
20 forecast and the GHG intensities there that we saw that  
21 just within -- so, here's the gap to get to what will be  
22 the target if we use electricity emissions in 1990, it's  
23 28.5, and that there will be a 17 -- roughly, a 17  
24 million metric tons reduction just by SB 100's efforts.  
25 And so, with that there will be just this gap of about

1 11 million metric tons remaining.

2           Therefore, we feel comfortable recommending  
3 that, you know, it's a bigger target and a bigger pie to  
4 chew and we want to focus on the building sector level  
5 and not get into the nuances that's happening at the  
6 electric generation sector.

7           And so, comparatively, here is the baseline,  
8 here's the complete time series looking at the emissions  
9 that we're including in the baseline. And as I  
10 mentioned before, we're above the 1990 levels. And so,  
11 this is the amount of emissions that we want to achieve  
12 to reach the 27.5 target.

13           And note that, well, it might be a bit  
14 confusing, when we're looking at the suite, the stack of  
15 emissions that we will be including those incremental  
16 electricity loads that we have modeled due to fuel  
17 substitution activities.

18           COMMISSIONER MCALLISTER: So, Nick, just a quick  
19 question on that. So, those incremental loads, the  
20 carbon content of those additional loads that wouldn't  
21 have otherwise been there without fuel substitution,  
22 those are tracking over time where we would expect to be  
23 in whatever respective year?

24           MR. JANUSCH: Yes.

25           COMMISSIONER MCALLISTER: So, the carbon content

1 of a substituted unit of electricity would be sort of  
2 compliantly low in 2030?

3 MR. JANUSCH: Yes, yes.

4 COMMISSIONER MCALLISTER: Okay, thanks.

5 MR. JANUSCH: Yeah. All right, so here is the  
6 graph again showing here's the aggressive target and  
7 that there is, compared to 2017, a need to reduce  
8 emissions by 25.7 million metric tons. And as was  
9 highlighted by earlier presentations that we have that  
10 one we just discussed, these incremental electricity  
11 loads, the purple. So, fuel substitution that's going  
12 to increase.

13 And then, this other issue of with more heat  
14 pumps out there, and more refrigerants, and HFCs that  
15 that's also going to be a penalty. So, it's going to be  
16 looking at this holistic effort of reducing those  
17 penalty emissions and trying to reduce those to achieve  
18 the 27 point -- to reduce emissions to achieve the 2030  
19 target.

20 So, kind of getting back to this margin  
21 abatement cost curve, and with this recommendation we're  
22 not -- since we're not including 1990 electricity  
23 emissions, we're not capturing all the emissions of  
24 activities and trying to -- for the AB 3232 baseline  
25 assessment. But with the marginal abatement cost curve

1 it maps out the incremental cost of reducing each  
2 emission and the cumulative effect of all these  
3 activities.

4           So, with this, and I'm excited, when this report  
5 is actually finalized we will have different scopes of  
6 abatement cost curves. Where one is just looking at  
7 more of a nuanced look at just looking at the baseline,  
8 the activities to reduce those emissions. And also, we  
9 hope to in theory look at more of a locational aspect,  
10 and with the location we'll look at forecast zone. And  
11 with that, we're going to build out from that saying,  
12 okay, this is going to be the cost of reducing this  
13 amount of emissions. And then, bring out, okay, look at  
14 the entire source energy, the building sector itself.  
15 So, that's where we'll actually look at these deep  
16 decarbonization efforts of flexible loads, demand side  
17 management measures, and seeing how much they can  
18 contribute in reducing emissions.

19           And then, with that build up in further scope  
20 seeing how this analysis, how do the building sectors  
21 fit within this policy framework of reducing emissions  
22 compared to other sectors to see what is the value added  
23 of doing AB 3232 fuel substitution and deep  
24 decarbonization into reducing emissions. So, with that  
25 it will give us like, all right, we can see how much it



1 will cost for reducing emissions up to 40 percent, but  
2 also likely how much it will cost if you want to reduce  
3 it even further or less than that. It's going to give  
4 us a better policy framework on understanding what is  
5 the full scope of reducing these emissions.

6           So, to conclude, as I mentioned this baseline  
7 selection was very difficult and complex. I was on both  
8 sides of the issue when it came to electricity  
9 emissions. I'm fairly comfortable where we stand now.

10           To reiterate, we are flexible with how we are  
11 dealing with the baseline, so we're open to  
12 recommendations and with consultation with ARB and CPUC  
13 on making a revision. And we would like to -- if we  
14 make a revision, we'll discuss it at a future staff  
15 workshop.

16           And to summarize, it seems counterintuitive what  
17 we are recommending, since we are not including  
18 electricity emissions, but it does focus at the building  
19 level what is the value added of doing these efforts at  
20 the buildings, and to achieve the goals.

21           And again, to reiterate, that the story is  
22 looking at what's happening with refrigerants and these  
23 other high global warming potential gases, and the  
24 specific need for, you know, reducing those emissions.

25           And with that, so this was Heri's slide, and I'm

1 open for questions.

2 COMMISSIONER MCALLISTER: All right, thanks a  
3 lot Nick. So, certainly want to hear what everybody  
4 wants to say. I've also been on both sides of this.  
5 Early on I was on, oh, we ought to include it all. And  
6 then, I think over time, you know, I think we  
7 collectively realized, most of us kind of ended up  
8 agreeing that the -- it's wise to kind of draw the  
9 boundary around this analysis to include things that  
10 building -- that decisions around buildings can actually  
11 impact, which is not the whole electric grid outside of  
12 the building, beyond the meter.

13 And also, we have great policy that's aiming us  
14 in the right direction there. So, if we're really  
15 focusing on emissions at the building level, I think we  
16 ended up with a pretty pragmatic proposal here.

17 But, certainly, want to hear what everybody  
18 wants to say about that. And I don't have any further  
19 questions so maybe, Heather, we can move on to questions  
20 from other folks.

21 MS. BIRD: All right. So, anybody who wants to  
22 ask questions specific to Nick's presentation, please  
23 step up to the podium. And we'll see how it goes, but  
24 we could go until probably about 11:30. And then,  
25 before we do kind of the open forum.

1           MR. DELFORGE: Pierre Delforge, NRDC. Thank you  
2 for this presentation and great work.

3           I've got two questions and I'll have some more  
4 comments later on. The first one is on refrigerant  
5 emissions. So, my understanding is that the majority or  
6 large part of refrigerant emissions are from  
7 refrigeration and commercial refrigeration in  
8 particular. And the question is, is that in scope of --  
9 did you include that in scope of AB 3232? Well, you  
10 know, fuel substitution does no impact on these  
11 emissions. So, are you planning to include policies  
12 that will address this large part of emissions or mostly  
13 focus on policies that will address HVAC emissions --  
14 HFC emissions, which can be impacted by fuel  
15 substitution?

16

17           MR. JANUSCH: I believe so. So, yeah, looking  
18 at the broad, at the HFC emissions and looking at  
19 strategies to reduce those. So, whatever is in that  
20 baseline of that full category of emissions and trying  
21 to reduce those.

22           Did I answer your question?

23           MR. DELFORGE: Okay, so thank you for the  
24 clarification, but we'll comment on that.

25           COMMISSIONER MCALLISTER: Just trying to get

1 everything on the microphone, just so people can hear.

2 MS. WATERS: Just to clarify, this is Dana with  
3 CARB, the current proposal does include HFC emissions  
4 from both refrigeration systems and AC used in both  
5 residential and commercial buildings.

6 MR. DELFORGE: Great, thank you.

7 My second question is around the policy  
8 assessment of the cost curve, the marginal cost curve  
9 that you just showed, just the previous slide, which I  
10 think is a great way to show the options and the cost of  
11 the options that we have.

12 I was wondering if you're also planning to  
13 include an analysis of the scale and the timing of the  
14 policies that are needed? For example, you know, in  
15 terms of incentives to get the market to, you know, to  
16 get to market transformation. Do we need the CSI, like  
17 California Solar Initiative-like program to, you know,  
18 ramp up the market share? How much, when does it need  
19 to start to be able to meet these goals? I think that's  
20 going to be important to report to the Legislature  
21 saying, you know, these are the types of policies that  
22 we need to be able to affect this market. So, it  
23 probably goes beyond just the cost curve but, you know,  
24 recommendation in terms of timing and scale of the  
25 different policy levels that we have.

1           So, the question is, is that part of the scope?

2           MR. JANUSCH: So, the abatement cost curves are  
3 under development, obviously. And we're going to rely  
4 on CARB's AB 32 scoping memo. And as for the timing,  
5 the first best will be based on that scoping memo, which  
6 just looks at, you know, from 2020 to 2030 what is the  
7 average cost of reducing these emissions.

8           But the next stage, if we have the time, we will  
9 take a look at the timing because it is an intertemporal  
10 problem, yeah. We'll take a look, yeah.

11          MR. DELFORGE: Great, thank you.

12          COMMISSIONER MCALLISTER: I mean I would just  
13 say that our process is kind of -- I mean one of the  
14 real upsides of having a public process here is that  
15 advocates can sort of make the case for that and say,  
16 hey, here's -- you know, and different people can  
17 sharpen their pencils and come up with numbers of like,  
18 okay, Legislature, you know, how much would it take over  
19 what period of time.

20          I mean, at the end of the say SB 1 CSI funding  
21 was a political process and it freed up significant  
22 funds for market transformation that worked. And so, I  
23 think certainly, actually, we might even say that in the  
24 Efficiency Action Plan that those are the kinds of  
25 approaches that we need to transform the various

1 marketplaces for buildings and elsewhere. But,  
2 certainly, that's on the table for discussion.

3 I don't know that -- you know, we would take our  
4 cues from the Governor's office, obviously, and kind of  
5 figure out how to frame that conversation and come up  
6 with recommendations that had some support. So, it  
7 really does depend on the conversation.

8 MS. BROOK: This is Martha from staff at the  
9 Commission. I just wanted to chime in that I think  
10 we'll cover this more when we do our first technical  
11 workshop for 3232. But, certainly, our planned analysis  
12 includes a yearly, an annual, cumulative approach by  
13 climate zone. So, we are thinking about penetrations  
14 over time and by technology, and end use, and building  
15 sector. So, I think that will -- if we keep talking to  
16 you guys, we'll be able to address what your concerns  
17 are.

18 MR. DELFORGE: Thank you.

19 COMMISSIONER MCALLISTER: Thank you.

20 MS. HIGGINS: Cathy Higgins, New Buildings  
21 Institute. I want to say that I didn't have this on my  
22 radar before I came, but from what you've introduced in  
23 this short period of time, I just want to echo my  
24 support for your decision to keep the 1990 baseline free  
25 of electricity emissions because of the reason that

1 occurs to me, which I'm sure you've considered, that in  
2 light of the EPIC work and the trend in the market for  
3 manufacturers and private sector developers, they're  
4 going to see that as a very good signal for the  
5 continuation of their efforts, compared to if you had  
6 changed the baseline to make the delta less. So, I just  
7 wanted to say I noticed that in working towards  
8 technology improvements.

9           And then, in that regard you mentioned that the  
10 buildings are going to be looked at in terms of this  
11 emissions abatement model, the cost of emissions  
12 abatement, and then looking at what the building sector,  
13 singularly in a way can do about their emissions.

14           But our industry is struggling with how to  
15 value efficiency in a zero-carbon grid. And so, I'm  
16 wondering if in the end of your modeling, and the work  
17 by Mr. Rosales, also, on the model and this work, if  
18 you're going to keep that isolated or you're going to be  
19 looking at the tradeoffs of investments in generation  
20 versus buildings that could lead to abandoned building  
21 efficiency?

22           MR. JANUSCH: Yeah, the hope is to keep them  
23 isolated, see these independent activities and what is  
24 the cost. So, you see, you know, we rank them. We see  
25 what the lowest hanging fruit is and seeing, perhaps,

1 you know, energy efficiency, at least the -- I didn't  
2 describe it, but this McKinsey curve shows energy  
3 efficiency having a negative cost. And so, it's like  
4 one of those things of a policy framework that's  
5 something to aim for. It's what I hope to have as an  
6 outcome here is to see what is the density, the amount  
7 of, you know, reduction we can get from folks on that.

8 COMMISSIONER MCALLISTER: Yeah, I mean this  
9 McKinsey curve, you know, it was great in its time and  
10 it's still instructive, but it's ten years old and a lot  
11 has changed in those ten years. So, we would anticipate  
12 that that -- in the California context, that will have  
13 changed a lot. So, we're going to come up with a  
14 California specific kind of approach.

15 MR. JANUSCH: Uh-hum.

16 COMMISSIONER MCALLISTER: And, yeah, the  
17 valuation of grid flexibility is kind of the problem  
18 that we confront. And so, I think we may not solve that  
19 whole problem here. I mean I think there's a  
20 forecasting question. There's a lot of research that  
21 we're sponsoring and will continue to sponsor on that.  
22 But, you know, the shape, shed, shift, shimmy demand  
23 flexibility discussion has to continue to inform this  
24 work as well.

25 Any other clarifying comments or questions for



1 Nick? Anybody on the -- okay. All right, so should we  
2 open it up?

3 MS. BIRD: Okay. So, as I mentioned before, so  
4 I do have two blue cards and feel free to -- you know,  
5 if you want to comment or ask questions to see the  
6 Public Advocate, back here in the corner, against the  
7 window.

8 COMMISSIONER MCALLISTER: Yeah, so, Heather,  
9 actually just -- so, I don't want to over formalize  
10 this, but I thought it would be a good idea to get blue  
11 cards just because I thought a number of people would  
12 want to speak, not knowing how many. But, you know, if  
13 there needs to be some back and forth I think that's  
14 fine. So, you know, however it works best to get  
15 everybody's feedback. Don't feel intimidated from, you  
16 know, coming up to the podium.

17 MS. BIRD: Okay. Thank you, Commissioner.

18 Yeah, for those on WebEx use the hand raise  
19 function and then we'll unmute you when we get to you in  
20 the sequence of things.

21 So, please, reiterate to keep your comments to  
22 three minutes so everybody has a chance, and we have a  
23 chance to respond. Anybody who doesn't have a chance to  
24 speak, we can -- we highly encourage you, whether you  
25 speak or not, to submit your comments, questions to the

1 docket before 5:00 p.m. on December 19th.

2           And to kind of help stimulate the conversation,  
3 we're going to put the scoping questions up. You can  
4 find them in the back of the scoping document. There  
5 are a total of eight, so we'll put the first four up.  
6 We can kind of go through them.

7           But I think what I'd like to do is I have two  
8 blue cards and I'd like to hear those comments first,  
9 and then see how it goes. If we keep getting blue  
10 cards, we'll go that way. If we don't, we'll go through  
11 these questions and hopefully stimulate some  
12 conversation there.

13           So, our first commenter is Tim Carmichael from  
14 SoCalGas. So, come up.

15           MS. MORENO: Good morning, can you hear me?  
16 Good morning, my name's Edith Moreno and I work for  
17 Southern California Gas Company. I want to thank you  
18 for the opportunity to provide comments on this  
19 morning's workshop. I just want to say that SoCalGas  
20 does appreciate the state's attempts to address climate  
21 change concerns. We want to continue to be a key  
22 partner in helping the state lead the way to dramatic  
23 reductions in greenhouse gases.

24           SoCalGas believes that a portfolio approach,  
25 utilizing all energy sources and technologies to meet

1 our climate goals will best serve Californians.

2           And with that, I want to highlight some of the  
3 remarks that were made by the CPUC's Energy Division  
4 staff this morning. It was mentioned that  
5 electrification is not the only means of achieving  
6 decarbonization. We need to fight building  
7 decarbonization on all fronts. And decarbonization is  
8 also about decarbonizing the gas supply.

9           I also want to echo some of the remarks that  
10 were made by a panelist of energy experts that were  
11 convened at two workshops. The first one is the CEC's  
12 -- the first one is CARB's August workshop on carbon  
13 neutrality. And the second workshop was the CEC's IEPR  
14 workshop on Near-Zero Carbon Electricity.

15           All panelists generally concluded that a  
16 portfolio approach is the best approach that is required  
17 to meet our climate goals.

18           And with that in mind, I want -- SoCalGas asks  
19 that the CEC and other state agencies not conflate  
20 decarbonization with electrification. Renewable gas,  
21 whether it's biomethane, hydrogen, or synthetic gas must  
22 be part of the solution to not only decarbonize our  
23 buildings, but also to make buildings more resilient in  
24 light of the increased frequency of climate driven  
25 events, such as wildfires, via the use of fuel cells and

1 other distributed generation technologies.

2 Thank you.

3 COMMISSIONER MCALLISTER: Thanks for your  
4 comment. We have one more blue card?

5 MR. ROSALES: I just wanted to make a quick  
6 comment.

7 COMMISSIONER MCALLISTER: Do we have one more  
8 blue card?

9 MS. BIRD: Oh, we have three more.

10 COMMISSIONER MCALLISTER: Oh, three more. Let's  
11 just keep going with that.

12 MR. ROSALES: Okay.

13 MS. BIRD: Okay, fine. Thanks. So, next up is  
14 Pierre Delforge with NRDC.

15 MR. DELFORGE: Pierre Delforge, NRDC again.  
16 Shifting to comments. First, I wanted to say that we  
17 really appreciate the agencies working together to put  
18 together this working group and this effort, which is  
19 very comprehensive and I think commensurate with the  
20 scale of the challenge that we have.

21 We are nearing the end of the decade and already  
22 getting ready for the next one. And we all know, given  
23 what's happening with climate change, the IPC report  
24 last year, and all the new reports, that the next decade  
25 is going to be critical to slow down and mitigate the

1 worst impacts of climate change. And fixing our  
2 buildings is going to be critical for doing that, both  
3 for 2030 and also going to carbon neutrality. So, this  
4 is really timely and relevant, and we need to get it  
5 right. So, really appreciate the Commission's and the  
6 agencies' efforts.

7           In terms of, you know, I want to touch a few key  
8 points that we'll flesh out in our comments. The first  
9 one is around the baseline and freezing direct  
10 emissions. And we also agree, and we also in both  
11 places we, you know, discussed early on, but we do agree  
12 that it makes sense. The intent of the bill, AB 3232,  
13 is to decarbonize buildings. The bill says at least 40  
14 percent by 2030. It doesn't say only 40 percent by  
15 2030. So, I think we need to look at the long term, the  
16 2045 timeline, carbon neutrality, and make sure that the  
17 plan that we identify and the feasibility we set is how  
18 to achieve that long term trajectory with 2030 as an  
19 intermediate milestone.

20           And the approach that has been taken with direct  
21 emissions is aligned with our long term trajectory, so I  
22 think it's really appropriate and, you know, aligned  
23 with the legislation.

24           The second point is around upstream emissions.  
25 So, I noted the proposal does not include upstream

1 emissions. So, we're talking about upstream fugitive  
2 methane emissions of natural gas that's delivered to  
3 buildings. And it didn't even discuss accounting for  
4 out-of-state emissions. California imports 90 percent  
5 of the gas we use and it's pretty clear that if we don't  
6 use gas in our buildings, we're not going to have as  
7 much upstream emissions from, you know, from producing,  
8 and processing, and distributing that gas. So, I think  
9 we should account for it. If we don't, we're  
10 underestimating the benefits of decarbonizing buildings.

11           And if we do that in multiple places we end up  
12 having, you know, a valuable position or a benefit  
13 that's, you know, clearly underestimated and not making  
14 the right policy decisions.

15           The Legislature, last year passed a bill, AB  
16 2195, by Assemblymember Chau, that required CARB to  
17 assess out-of-state upstream emissions from methane.  
18 That clearly indicates that the Legislature agrees this  
19 is an issue. We already do it in the electricity  
20 sector, we account for out-of-state electricity  
21 emissions. And I think we need to have a level playing  
22 field and a fair process, and account for the same  
23 emissions, the same impacts from out-of-state gas  
24 production when we look at the California policies.

25           COMMISSIONER MCALLISTER: So, I'd like to get

1 other people's view on that, too, just to jump in real  
2 quick. We don't have your time up, so maybe we can put  
3 the clock up.

4 But I think the thinking, and staff can confirm  
5 this, was that, you know, if we reduce carbon emissions,  
6 you know, or carbon combustion, you know, carbon dioxide  
7 emissions from one building by making gas use more  
8 efficient, or substituting, that doesn't necessarily  
9 actually reduce emissions at all out on the grid.

10 And so, the question is where do you do the  
11 attribution of the actual emissions that we have and is  
12 it appropriate to do it at the building level. So, it's  
13 not that, you know, nobody's saying that those emissions  
14 aren't happening or that they don't need to be accounted  
15 for, but the question is whether we attribute them to  
16 the building and the efforts inside the building.

17 And so, we only reduce, at least the  
18 distribution grid we only reduce emissions if we don't  
19 use it at all, right. But if we only do haphazard  
20 building by building, then we don't really reduce the  
21 grid side of the meter emissions, right.

22 But that's a conversation we need to have and  
23 get to a robust place.

24 MR. DELFORGE: No, I appreciate the comment at  
25 this point. And I know it's not 100 percent

1 attribution, but there's more than zero. I mean we know  
2 emissions are linked to some extent to the volume  
3 produced and distributed to some extent. So, the  
4 question is, you know, what is a reasonable assumption  
5 for attribution. So, we can have that conversation, but  
6 I just wanted to mention it here.

7           And if I may just finish my comments, pretty  
8 quickly here. The last point I wanted to highlight is  
9 around assumptions for not including energy efficiency  
10 and load shifting in the baseline. I think it's  
11 unfortunate because, you know, trying to drive a worst  
12 case scenario is not going to inform the decisions we  
13 need to make to get to what -- you know, it's going to  
14 inform decisions to get to what we're trying to avoid,  
15 rather than what we want.

16           You know, I agree we shouldn't model best case,  
17 either, because that's not necessarily realistic, or  
18 sometimes we achieve or exceed best case. But at least  
19 we should try to model, assume, you know, a most likely  
20 scenario that we think we can achieve. Because that's  
21 going to drive us to make a decision that we want to,  
22 you know, to achieve rather than those we want to avoid.

23           MS. BROOK: Martha Brook. I'm confused. So, I  
24 don't know -- what assumptions are you talking about?

25           MR. DELFORGE: So, you presented -- maybe I



1 misunderstood the assumptions. But what I understood  
2 from the assumptions presented was that there was no --  
3 we assume the electrification does not include any  
4 energy efficiency and any load shifting.

5 MS. BROOK: Are you talking -- okay, so, you're  
6 talking about my presentation when I was talking about  
7 the --

8 MR. DELFORGE: That's right.

9 MS. BROOK: -- assumptions in order to get the  
10 emission intensities.

11 MR. DELFORGE: That's.

12 MS. BROOK: So, absolutely, that's like a  
13 current version. It's like one, you know, step towards  
14 where we want to be. And with the idea of we know  
15 there's going to be increased demand for space and water  
16 heating if we choose to electrify as a major strategy of  
17 decarbonization.

18 Let's give the production cost model a demand  
19 profile that is at somewhere close to that future, so  
20 that we can understand how a highly renewable grid  
21 reacts to that increase in demand.

22 Absolutely, when we do our 3232 analysis and we  
23 say, okay, now here's all the strategies we've found,  
24 including as much, you know, cost effective efficiency  
25 and load shifting as possible we can do another version

1 of that. Throw it into a production cost model, get  
2 another version. So, it's iterative.

3 MR. DELFORGE: Okay. All right. Okay, thank  
4 you for clarifying. I was worried that it would just be  
5 used as the, you know, estimating assumptions.

6 MS. BROOK: No. And the question I have, this  
7 is Martha again, is I don't know, this is where I get  
8 really -- I just go into the wormhole of the production  
9 cost modeling framework. I have no idea like how much  
10 does it matter if you're changing demand? Is it, do you  
11 have to change a lot every hour to get a change in that  
12 marginal emission intensity or not? That's where I  
13 don't, I really don't know. But we'll go through it,  
14 we'll do some iterations and we'll see.

15 COMMISSIONER MCALLISTER: The baseline  
16 definition, actually enabled -- I mean, I would see it  
17 as the flip side, and maybe I'm confused, because it  
18 definitely is -- it's a little bit of a mind bender.  
19 But establishing the baseline as defined actually allows  
20 us to appreciate and quantify demand flexibility as a  
21 decarbonization strategy explicitly, right.

22 So, I think actually the way it's defined gives  
23 us more tools, not less. But anyway, I'm -- you know,  
24 we have to talk about this.

25 MR. DELFORGE: If it's just the baseline and not

1 the estimating process, yes. I wasn't clear about this.

2 Thank you.

3 MS. BIRD: Okay, thank you.

4 So, next comment is from Lauren Cullum, Policy  
5 Advocate from the Sierra Club California.

6 And apologies, we don't have the clock. We're  
7 not sure how to use it.

8 COMMISSIONER MCALLISTER: Oh, no worries. It's  
9 like technical problems and it doesn't bode well for  
10 decarbonization, but it's okay. So, just try to keep  
11 concise is all.

12 MS. CULLUM: Will do. Thank you for the  
13 opportunity to comment. I'm Lauren Cullum with Sierra  
14 Club California, representing 13 local chapters in  
15 California and half a million members and supporters  
16 across the state.

17 Sierra Club supports the Energy Commission's  
18 baseline approach. We believe this method will lead to  
19 greater emission reductions in our building sector,  
20 which is a necessary and urgent need.

21 We also believe by focusing on on-site direct  
22 emissions is in line with the state's goal to achieve  
23 carbon neutrality by 2045, and it will also encourage  
24 the type of aggressive action we need in light of our  
25 climate crisis, and the speed at which we need to work

1 in order to reduce emissions from the building sector.

2 Any other approach or including the electricity  
3 emissions would either be -- would allow us to almost  
4 continue on a business as usual path and would hinder  
5 our ability to reach reduction targets that we need to  
6 reach by 2045. And it will also delay our efforts to  
7 electrify our homes and buildings.

8 That being said, we also have -- we have some  
9 concerns about not including the upstream methane  
10 emissions from natural gas infrastructure leaks, as we  
11 think that this is an issue that needs to be taken into  
12 consideration and addressed. But we'll provide more  
13 detailed recommendations and comments on this in the  
14 docket.

15 Thank you again for your leadership and  
16 attention to this important topic.

17 COMMISSIONER MCALLISTER: Thank you.

18 MS. BIRD: Okay, thanks Lauren.

19 So, next up we have Farhad Farahmand from TRC.

20 MR. FARAHMAND: Hi, this is Farhad Farahmand  
21 with TRC. Thank you very much.

22 So, I do a lot of work REACH work with local  
23 jurisdictions in the Bay Area, predominantly right now,  
24 focusing both on building electrification and electric  
25 vehicles.

1           Electric vehicles represents one of the largest  
2 new loads that our buildings are going to see. One of  
3 the REACH code elements that we've integrated is having  
4 the same access to electric vehicle charging  
5 infrastructure in multi-family buildings, as single  
6 family buildings currently have, which is one per  
7 dwelling unit.

8           Now, if you use that framework and extend it to  
9 what the current building standards require, which is  
10 that there's adequate panel capacity and transformer  
11 capacity allowed or, you know, accommodated for that  
12 leads to astronomical costs if you're trying to have all  
13 multi-family dwelling units have electric vehicle  
14 capacity.

15           So, what we have been stressing in our REACH  
16 codes is that there is load management built in and  
17 aligned with Part 11 standards. Because otherwise,  
18 we're going to see much higher costs in multi-family  
19 buildings.

20           And that's it.

21           COMMISSIONER MCALLISTER: Thanks very much.

22           MS. BIRD: Thanks, Farhad.

23           So, we don't have any further blue cards at the  
24 moment, so I've asked Heri to start going through these  
25 scoping questions one by one and see if that stimulates

1 some conversation. And there's another set of four  
2 questions after this. So, we'll go through those and  
3 we'll see where the conversation goes.

4 MR. ROSALES: Hi, this is Heri from CEC, again.  
5 We had listed eight questions in the scoping document  
6 that we had posted, so I'm going to run through them  
7 right now.

8 These questions we had formulated to help inform  
9 us and hear public comments and public ideas on these  
10 issues, but by no means are these prescriptive and by no  
11 means are you limited to providing information on  
12 anything beyond this.

13 But let me go through them real brief. So,  
14 question one, AB 3232 calls for a building  
15 decarbonization assessment through 2030. Should CEC  
16 staff also include a review of feasibility for  
17 California's 2045 zero-carbon goals?

18 Question two. Is the proposed baseline  
19 recommendation the best approach for the assessment?  
20 Why or why not?

21 Question three. Staff has identified sectors  
22 and topics that will be assessed for impacts, challenges  
23 and opportunities. Do you think this list is  
24 appropriate? What additional sectors or topics should  
25 be added to the scope of the assessment?

1           And question four. Building costs from  
2 substituting end-use appliances include direct and  
3 indirect costs. One example of indirect costs are fuel  
4 infrastructure costs, such as gas piping to and within  
5 buildings, and electric distribution systems. Which  
6 indirect costs should be included in this assessment and  
7 what are sources for this information?

8           I'm going to pause quick, if anyone wants to  
9 comment on any of those, the first set.

10           Anything on WebEx, Daniel? Nope.

11           Okay, I'm going to continue through the -- there  
12 we go. And continuing, question five, the total cost to  
13 reduce or eliminate emissions from energy usage are  
14 uncertain. However, reducing or eliminating emissions  
15 will have cost impacts at the individual and social  
16 level. Which cost effectiveness test should be included  
17 in this assessment?

18           Question six. What additional data analysis or  
19 study should be reviewed as part of this assessment?  
20 Please specify sources and include links or electronic  
21 copies, if possible. Also, include a brief rationale on  
22 the relevant to the building decarbonization assessment.

23           Question seven. What strategies or actions  
24 should be analyzed as options for reducing GHG emissions  
25 in the building sector?

1           And last, CEC is planning to hold workshops on  
2 the building decarbonization assessment in Q2 of 2020.  
3 Are there specific topics that you would like to have  
4 discussed at a workshop?

5           And those are the questions we included. So,  
6 again, definitely interested in hearing feedback on  
7 those. Thank you.

8           MS. BIRD: Okay, so I'm not hearing any  
9 questions. And so, Commissioner, would you like to make  
10 any closing remarks?

11           COMMISSIONER MCALLISTER: Yeah, I guess I would  
12 just certainly encourage people to participate. You  
13 know, I see some normally talkative people in the room  
14 and I wish they would get up to the podium, but I'm not  
15 looking at anybody in particular.

16           So, but I guess the point, really, of opening  
17 this public conversation is to create stakeholder  
18 engagement. You know, the solutions are -- so, we have  
19 great analysts. We have access to data. We have  
20 wonderful collaborations across our agencies. And so,  
21 that's a great, you know, set of tools that we have  
22 right here, cards that we have in our deck, you know, at  
23 the Commission.

24           But our deck is not big enough to solve this  
25 problem. It really has to -- the full suite of



1 solutions has to emerge from the broader marketplace,  
2 from stakeholders, from knowledgeable people in this  
3 sector, you know, the leaders of which are in this room  
4 and on the call, and beyond that.

5           And so, just cultivating that stakeholder, I  
6 think, engagement, levels of trust. You know, we are  
7 listening. You know, people make a good case for what  
8 they want to happen, we're going to listen.

9           And there are some tough questions. I certainly  
10 want to -- I'll highlight that one of the questions was  
11 about sort of nearish term versus longer term  
12 trajectories. And so, the issue of lock in. When we  
13 make near term investments to reduce carbon emissions  
14 what does that mean for the longer term goals, you know,  
15 to 2045 and beyond. We really want to understand the  
16 differences between various trajectories and investments  
17 that we might encourage with policy.

18           And, you know, to the extent that we, I think,  
19 need a broader, a more complete view of the carbon  
20 content, not only of electricity but of natural gas,  
21 that's something that I think that knowledge base needs  
22 to grow, but in a credible way. You know, like what is  
23 the future mix of the gas system?

24           You know, certainly, we want to acknowledge  
25 SoCalGas's presence and comment. You know, I think the

1 molecular accounting that we have to do going forward to  
2 2045 can be pretty brutal. And so, you know, it's that  
3 light of day is something we have to just apply.

4 So, you know, we need scenarios that bring to  
5 life the possibilities that people believe are out  
6 there.

7 So, December 19th is the deadline. You know,  
8 this is going to be an ongoing conversation, so please  
9 submit your best thoughts when you have them. You know,  
10 if it's December 20th and you're taking a shower in the  
11 morning, and you have a brilliant idea, we want to hear  
12 it.

13 But this conversation is going to happen over  
14 the next six, eight months, and then at a draft and then  
15 the finalization of the report. And we want those  
16 recommendations to be, you know, fully fleshed out and  
17 something that's actionable. You know, they can go out  
18 into the world and actually have an impact. So, going  
19 to depend on all of you and the conversation going  
20 forward to make that happen.

21 So, those are my comments. I want to thank,  
22 again, the Efficiency Division staff and MEAD, as well,  
23 for all the contributions to this, and our agency  
24 counterparts who presented. So, thank you very much.

25 MS. BIRD: Great. Thank you, Commissioner.

1           So, yeah, I want to say thanks for coming out in  
2 the rain and thanks for your questions and comments.  
3 We'd love to hear from you. Please submit your comments  
4 to the docket, 19-DECARB-01. And the comments are due  
5 by 5:00 p.m., on December 19th.

6           I'd like to thank our partner agencies for being  
7 here and presenting.

8           And if you want to follow this proceeding,  
9 please sign up for one of these three Listservs.  
10 Climate change, natural gas, or existing bills, or all  
11 three if you're interested in all those topics.

12           And I just want to say thank you.

13           (Thereupon, the Workshop was adjourned at  
14 11:52 a.m.)

15

16

17

18

19

20

21

22

23

24


25

1  
2  
3**REPORTER' S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 9th day of January, 2020.



---


PETER PETTY  
CER\*\*D-493  
Notary Public

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 9th day of January, 2020.



---

Barbara Little  
Certified Transcriber  
AAERT No. CET\*\*D-520

