

DOCKETED

Docket Number:	19-SB-100
Project Title:	SB 100 Joint Agency Report: Charting a path to a 100% Clean Energy Future
TN #:	232488
Document Title:	Transcript of 02-24-20 SB 100 Modeling Inputs and Assumptions Workshop
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	3/20/2020 3:46:21 PM
Docketed Date:	3/20/2020

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the matter of,)
) Docket No. 19-SB-100
SB 100 Joint Agency Report:)
Charting a Path to a 100%)
Clean Energy Future)

**SB 100 Modeling Inputs and
Assumptions Workshop**

WARREN-ALQUIST STATE ENERGY BUILDING
1516 NINTH STREET
1ST FLOOR, ARTHUR ROSENFELD HEARING ROOM
SACRAMENTO, CALIFORNIA 95814

Monday, February 24, 2020

10:00 A.M.

Reported By:
Elise Hicks &
Peter Petty

APPEARANCES

Commissioners Present

David Hochschild, Chair

J. Andrew McAllister

Karen Douglas

Other State Agencies Present

Liane Randolph, Commissioner, CPUC

Rajinder Sahota, CARB

CEC Staff Present

Terra Weeks

Siva Gunda

Mark Kootstra

Noemi O. Gallardo, Public Advisor

Dorothy Murimi

Chris McLean

Consultants/Contractors Present

Oluwafemi Sawyerr, Energy and Environmental Economics,
Inc. (E3)

Dr. Zachary Subin, E3

Panelists

Delphine Hou, CAISO

Jason Rondou, LADWP

Jim Shetler, Balancing Authority of Northern California
(BANC)

APPEARANCES (CONT.)

Panelists (Cont.)

Marilyn del Bosque Gilbert, Imperial Irrigation District
(HD)

Dan Severson, Turlock Irrigation District
Erica Brand, The Nature Conservancy

Zainab Badi, GRID Alternatives

Matthew Freedman, The Utility Reform Network (TURN)

Michael Wara, PhD, Stanford University

Phoebe Seaton, Leadership Counsel for Justice &
Accountability

Public Comment

Julee Malinowski, California Biomass Energy Alliance

Roger Lin, UC Berkeley

Ben Allen, UC Berkeley

Danielle Osborn Mills, American Wind Energy Association
of California (AWEA-CA)

Diane Moss, California Hydrogen Business Council (CHBC)

Mary Solecki, AJW

Sergio Duenas, California Energy Storage Alliance

Bob Mitchell, California Energy Development Authority
(CEDC)

Deepika Nagabhushan, Clean Air Task Force (CATF)

Gregory John Stangl, Phoenix Energy

Evan Edgar, California Compost Coalition/Clean Fleets

Jim Shetler, Balancing Authority of Northern California
(BANC)

APPEARANCES (CONT.)

CALIFORNIA REPORTING, LLC

229 Napa St., Rodeo, California 94572 (510) 313-0610

Public Comment (Cont.)

Julia Levin, Bioenergy Association of California

Nancy Rader, California Wind Energy Association (CalWEA)

Ben Davis, California Solar & Storage Association

V. John White, CEERT

Kaela Shiigi, UC Berkeley

INDEX

CALIFORNIA REPORTING, LLC

229 Napa St., Rodeo, California 94572 (510) 313-0610

Welcome & Opening Remarks

Chair David Hochschild, California Energy Commission (CEC)

Commissioner Liane Randolph, California Public Utilities Commission

Commissioner J. Andrew McAllister, California Energy Commission

Commissioner Karen Douglas, California Energy Commission

Rajinder Sahota, Industrial Strategies Division Chief, California Air Resources Board

Review of SB 100 Statutory Requirements and Scope of Workshop - Terra Weeks, CEC

7

Session 1: Modeling Inputs and Assumptions

Review of Overall Analytical Approach and Scenarios, Mark Kootstra, CEC

11

Introduction to PATHWAYS and RESOLVE

Zach Subin, Energy and Environmental Economics (E3)
Oluwafemi Sawyerr, E3

23

29

Stakeholder Q&A

40

Session 2: Reliability Considerations in SB 100 -

Moderated by Chris McLean, CEC

86

California Independent System Operator: Delphine Hou, Director, California Regulatory Affairs

87

Los Angeles Department of Water and Power: Jason Rondou, Director, Clean Grid LA Strategy Division

96

Balancing Authority of Northern California, Jim Shetler, General Manager

107

Imperial Irrigation District: Marilyn del Bosque Gilbert, Energy Department Manager

115

Turlock Irrigation District: Dan Severson, Assistant General Manager

127

INDEX

CALIFORNIA REPORTING, LLC

229 Napa St., Rodeo, California 94572 (510) 313-0610

	Page
Session 3: Additional Perspectives for SB 100 Analysis - Moderated by Siva Gunda, CEC	144
Erica Brand, The Nature Conservancy	146
Zainab Badi, GRID Alternatives	155
Matthew Freedman, The Utility Reform Network	161
Michael Wara, PhD, Stanford University	175
Phoebe Seaton, Leadership Counsel for Justice & Accountability	185
Path Forward for this Round of SB 100 and Beyond - Siva Gunda, CEC	216
Public Comments	200
Closing Remarks	221
Adjournment	224
Reporter's Certificate	225
Transcriber's Certificate	226

P R O C E E D I N G S

FEBRUARY 24, 2020

10:00 A.M.

[Proceeding in Progress]

MS. WEEKS: So, where it says supply 100 percent of all retail sales. And so, we've received comments around whether this includes system losses associated with retail sales. And so, this is a point under active consideration and we appreciated the comments that we've received on this point.

Additionally, the bill states that achieving the 100 percent policy shall not increase carbon emissions elsewhere in the western grid and shall not allow for resource shuffling. And it calls on all state agencies to incorporate this policy into all relevant planning.

State agencies must also ensure that steps taken to implement the policies do the following: Maintain safety, reliability, and balancing of the electric system. Prevent unreasonable impacts to utilities and ratepayers. Support efforts to reduce emissions in other sectors and not effect implementation of RPS.

So, as I mentioned, the RPS will remain at 60 percent indefinitely under the statute. And so, really what we're talking about is the 100 percent outside of that 60 percent RPS.

So, more specifically, the statute requires the

1 Public Utilities Commission, the Energy Commission, and
2 the Air Resources Board to do both of the following:
3 First is to utilize existing programs to achieve the 100
4 percent policy. And the second is to issue a joint
5 agency report to the legislature. And so, this report
6 is to be done in consultation with the California
7 Balancing Authorities and through a public process. The
8 first report is due January 1, 2021 and then every four
9 years thereafter.

10 So, the statute requires that the SB 100 report
11 include all of the following: The first is a review of
12 the policy focused technologies, forecasts,
13 transmission, safety, affordability and reliability.
14 Also, a specific section on system and local
15 reliability, which will be discussed during Session 2,
16 with the California Balancing Authorities today. The
17 nature of anticipated costs and benefits to utilities
18 and ratepayers. Overall barriers and barriers to
19 achieving the policy. And lastly, alternative scenarios
20 in which the policy can be achieved. And so, that's
21 really going to be a core focus of our technical section
22 today.

23 So, now, I'll shift into the report development
24 process so far. So, we've assembled an interagency team
25 which is led by the SB 100 principals at each agency,

1 who are Energy Commission Chair David Hochschild, CARB
2 Chair Mary Nichols, and PUC Commissioner Liane Randolph.
3 We also appreciate Commissioner McAllister be the lead
4 for the modeling portion of the report.

5 So, we are still in the process of collecting
6 stakeholder input through a series of workshops, which
7 will help inform the report and, of course, we'll be
8 developing the report over the course of this year.

9 So, the primary goals of this report are to,
10 obviously, meet the statutory requirements, to provide
11 direction to the electricity market, to coordinate
12 planning processes across the state agencies, including
13 integrated resource planning, RPS compliance, the Energy
14 Commission's Integrated Energy Policy Report, and CARB's
15 scoping plan, among others.

16 And in this first report we're also working to
17 ensure that we have consensus on interpretation of the
18 statute. So, for instance, around the definition of
19 zero carbon resources.

20 And of course we're trying to balance many
21 facets of this policy, so including reliability as we
22 incorporate more intermittent generation onto the
23 system, resource diversity and flexibility as key tools
24 to maintain reliability, energy equity, affordability
25 balancing, providing market direction, while still

1 allowing for flexibility with emerging technologies, and
2 supporting innovation, and environmental impacts
3 including land use, which we'll be discussing today.

4 So, just to recap the timeline so far, we really
5 launched the report development process last fall with
6 our kickoff workshop here in Sacramento. We then held
7 three regional scoping workshops across the state, in
8 Fresno, Redding, and Diamond Bar to solicit feedback on
9 the scope of the report.

10 We held our first technical workshop in
11 November, where we outlined the state of the market for
12 both existing and emerging technologies. And we also
13 outlined two proposed modeling scenarios, which were the
14 RPS Plus and no combustion scenarios, which we'll be
15 diving into more detail today.

16 Following this workshop, the Modeling Inputs and
17 Assumptions, we'll be finalizing the scope of the
18 modeling work for this report and then complete the
19 analytical portion of this report. We're planning to
20 have a draft modeling results workshop in late spring,
21 and then a draft report released with a workshop in late
22 summer. And then, of course, finish the report by the
23 end of the year.

24 So, just to wrap up, I wanted to summarize some
25 of the key comments that we've received to date on the

1 report. So, one of the most frequent comments that we
2 received is support for a diverse portfolio of
3 resources, including a mix of both in-state and regional
4 resources and a focus on energy storage.

5 We've also heard support for specific
6 technologies to fall under the definition of zero carbon
7 resources, including large hydro, small modular nuclear,
8 hydrogen, gas with CCS, and bioenergy resources.
9 Comments around including resilience planning and
10 addressing wildfire risk. Continue to address
11 reliability.

12 We've heard many speakers and comments on the
13 critical importance of affordability and energy equity
14 as we implement the policy. Also, to address air
15 pollution particularly in disadvantaged communities.
16 And concerns around a narrow interpretation of the scope
17 of SB 100. So, again, this is getting to the question
18 as to whether system losses should be considered under
19 the purview of SB 100.

20 And so, with that, unless there are any
21 questions, I'll turn things over to Mark Kootstra from
22 the Energy Commission, who's going to dive into the
23 analytical portion of this report. thanks.

24 MR. KOOTSTRA: Good morning everyone. My name
25 is Mark Kootstra. I work in the Electricity System

1 Modeling Unit at the Energy Commission. Today I'm going
2 to really talk about the analytical approach we're
3 taking for SB 100, specifically the modeling that we're
4 hoping to do.

5 So, as you can recall from Terara's presentation
6 a few minutes ago, these are some of the key
7 considerations we're looking at within SB 100. Some of
8 these are easier to model, to analyze quantitatively
9 versus qualitatively and so some of those we're going to
10 try and do quantitatively now, others we're going have
11 to model qualitatively now and look at quantitatively in
12 the future. A subset of these we'll definitely be
13 modeling at this point.

14 Some of those include the statewide resource
15 scenarios. We'll hopefully be able to provide you guys
16 examples of scenarios that we will be modeling and then
17 what resource scenarios will come out of that. The
18 cost, and benefits of impacts of those scenarios as
19 well. Again, on a limited scope because we're not
20 modeling the entirety of everything, but we can through
21 a capacity expansion model.

22 The rest, as you can see, we're going to talk
23 about qualitatively and we may do quantitatively in the
24 future. E3 will talk a little bit -- in a little bit
25 about the RESOLVE model, which is the capacity expansion

1 model that we'll be using this time around.

2 So, SB 100 identifies eight main analytical
3 requirements. This is kind of a little bit grouped
4 together and simplified from what's actually in the bill
5 language, but it gets the point across. What I'm going
6 to describe next is going to be what models that we
7 could use now and in the future, as well as what we're
8 actually using, as well as describe our general approach
9 and what scenarios we'll likely be -- we're planning to
10 use for the time being.

11 So, coming out of these disparate eight main
12 analytical aspects that we need to look at, we can take
13 a look at power flow modeling which really looks at the
14 electrical system, how that power flows in particular
15 cases. The current that's used to evaluate current
16 operations, optimize those operations, as well as look
17 at future expansions ore retirements of different
18 aspects of the system.

19 The demand forecast models, the Energy
20 Commission produces a demand forecast out to 2030. It's
21 really not efficient to review out to 2045. That's
22 pretty obvious. We are going to be making use of E3's
23 PATHWAYS model to give us similar numbers that are
24 provided by the demand forecast, but it's not a
25 forecast. It's looking at what if we comply with this,

1 what demands we're really going to be looking at. And
2 Zach from E3 can characterize that a bit better down the
3 road.

4 Fuel price modeling, again, we're not going to
5 be doing any of that here. That's a key input as we
6 look at what the costs are for the natural gas system.
7 The Energy Commission does a NAMGAS model, or North
8 American Market Gas Model, in these price forecasts.
9 We're not updating those here, but that's something we
10 could be looking at in the future of how that is
11 impacted by SB 100.

12 What we will be looking at is the capacity
13 expansion model RESOLVE. There are a number of
14 different capacity expansion tools out there. These
15 take a simplified version of the electricity sector, as
16 all models do. RESOLVE looks at 37 days and E3 will
17 talk about that a little bit more. It has to in order
18 -- it has to take a small set of the year that we're
19 modeling to allow it to iterate over many different
20 possible scenarios and different options so we can
21 actually identify what could be built. Is this optimal?
22 Is this going to be too costly or expensive given the
23 very stringent set of assumptions?

24 As will all models the assumptions are really
25 key and if you make a bad assumption, the model results

1 will reflect what that assumption is.

2 What we're looking at for outputs here are
3 possible resource builds with basic characteristics such
4 as cost, how much solar is going to be there versus
5 wind, versus storage and other things.

6 Another model that we could to be looking at
7 and, hopefully, in the future will be able to do is
8 production cost models specifically with some
9 stochastics. The Energy Commission runs production cost
10 models right now and this helps us to evaluate resource
11 builds by looking at the entire year that we're modeling
12 or the entire spread. It gets a little bit more
13 granular and specific, but it has some similar
14 limitations in the fact that it's still a model, it's
15 representing a simplified environment. And it's not a
16 predictor of what the future will look like but, rather
17 allows us to explore what the future could look like
18 based off of different policy decisions that we look at.

19 Adding stochastics is essentially running many
20 different combinations of possible outcomes, so we can
21 explore what if the sun doesn't shine as much this year,
22 what if hydro is lower or higher, how does that impact
23 the model so you can get a broader view and perspective,
24 as opposed to just a single point forecast or analysis,
25 which can hide different things and you can't

1 necessarily explain it as well.

2 Some of the future modeling possibilities we're
3 looking at, and we would love input from folks on this
4 is what models are out there and what are the desired
5 outputs? Not necessarily the numerical values that you
6 get that it's 100 percent to 30, but really what
7 measurements do we want to look at. Especially in the
8 case of environmental protection, affordability and
9 safety. There's some aspects of these that we can do,
10 that we have some identification on what we possibly can
11 do in the future, but we'd like to know what's important
12 to stakeholders as well. Again, this is likely not
13 going to happen in this cycle, but in future cycles, and
14 we're trying to gather that information now.

15 Our overall inputs for SB 1001, there's a lot.
16 This is a very small subset, already. But it just kind
17 of identifies how different assumptions and inputs that
18 we have feed into the different analytics that SB 100
19 calls for. So, some of these analytics we have to do
20 before we do the modeling, some of it can flow out from
21 it, but this kind of gives some of that flavor.

22 Some of the key inputs that we're looking at and
23 we're iterating over, which I will talk about later for
24 our scenarios, is the available transmission. Are we
25 expecting more transmission to be built, both in-state,

1 out-of-state, and how that works. What energy demands
2 we're looking at, not just what's the energy consumption
3 for the state, but the shape of that consumption. If we
4 continue to have a peak that shifts later and later into
5 the day, solar contributes less and less to those
6 resource needs in some situations, or we have to pair
7 that with storage to make that up. Whereas, if somehow
8 our peak magically goes to solar noon, that's really
9 nice for us. Knowing what that shape looks like is
10 really important.

11 Different resource availability, so how many
12 resources are there? Can we access offshore wind? Are
13 we making that assumption? Can we access out-of-state
14 resources? Or, are there going to be further
15 constraints in different regions that we currently
16 think, hey, we can build solar forever in this area, but
17 maybe we can't. So, those types of considerations come
18 into play.

19 And then, resource eligibility. This goes back
20 to what Terrara was talking about as there is no
21 definition for what is a zero carbon resource for SB 100
22 and we need to look at some different definitions of
23 that so that we have a rationale and reasons for what
24 we're suggesting.

25 Some of the outputs that we're looking at and

1 we're hoping to make use of is what transmission is
2 selected when transmission resources are options? What
3 GHGs are there? What resource mix we're looking at?
4 And this shows and points to how the different analytics
5 can flow into actual model results.

6 For affordability, I want to point out this
7 would be cost per kilowatt served. This would be taking
8 the levelized cost and dividing by the total energy. We
9 suspect, but we don't know yet, that if costs go up, if
10 demand goes up at the same time or even faster, that the
11 total cost per kilowatt hour could actually down despite
12 total resource cost for the system going up. So, it's
13 those types of things we want to look at as well. So,
14 just because the total resource cost goes up, it doesn't
15 mean there is an increase in kilowatt hour served for
16 the energy side. But the converse could also be true,
17 demand could go down, total resource cost could go down,
18 but cost per unit energy could go up.

19 So, now, I'm going to talk a little bit about
20 the scenarios we're planning to do and what's feeding
21 into those scenarios. As Terrara mentioned already, the
22 eligibility is not defined, so we want to set that
23 eligibility for SB 100 resources and how that fits.

24 Right now, we're looking at two different
25 options, the RPS Plus scenario and a no fossil fuel

1 combustion. The RPS eligibility is identified there
2 just as a reference. Hopefully, most of you already
3 know solar has eligibility, wind, small hydro, and other
4 resources such as biomass, and there are some minor
5 resources that don't play a significant role in the RPS
6 at this point. All of those would be eligible in both
7 of these cases. That's what we're proposing. The RPS
8 Plus and the no combustion also add large hydro and
9 nuclear resources. The main difference we're looking at
10 with the no combustion of fossil fuel is that natural
11 gas carbon sequestration would not be eligible, whereas
12 under the RPS it would. That's the only carbon capture
13 resource that we're adding to the dataset or to the
14 possibility for result to select at this point, that we
15 plan to. But as time goes on new technologies come
16 around and whether that's carbon capture or not, we'll
17 evaluate this list and see what's appropriate in future
18 iterations to add.

19 Our demand scenarios, we're relying on PATHWAYS
20 from E3 for the high electrification case, high
21 biofuels, and high hydrogen cases. These have already
22 been out there in the public. The CPUC's 2045 IRP
23 studies looked at these as well. They should be
24 relatively familiar to some of you.

25 We're also asking E3 to work with our demand

1 forecast staff to create a base case that's in alignment
2 with the 2019 California Energy Demand Forecast that was
3 recently released. There's an existing base case that
4 we want to update that with the new information that we
5 have, and we'll use that as a reference case as well.

6 Looking at different resource availability,
7 these resources options are very similar to what the
8 CPUC put out in their 2045 IRP study. They're framed a
9 little bit differently. The CPUC's base case where
10 offshore wind and new out-of-state were not available or
11 severely restricted, and then they allowed those
12 resources to come into play to test what happens if you
13 add offshore wind or out-of-state resources -- out-of-
14 state transmission that allows a lot of out-of-state
15 wind to get selected in the model. But we also want to
16 look at what happens if we allow both of those things.
17 Just to throw that out there.

18 So, if we add together the possible iterations
19 that we're looking at, we're looking at the option of 64
20 scenarios. If we iterate over anything else that could
21 duplicate grow exponentially, that's not going to be
22 helpful. So, we want to narrow down what those
23 scenarios look like. We want to make sure we filter out
24 ones that aren't meaningful, because not all scenarios
25 are going to be meaningful. Some combinations won't

1 make a lot of sense. And so, we're narrowing them down
2 to eight at this time, with some options to add a little
3 bit more if we need to, if we find out there are areas
4 we want to explore.

5 And so, these are the eight that we're looking
6 at. The first five are largely the same as what the
7 CPUC did in the 2045 IRP scenarios, with the exception
8 that it's now statewide, and there may be some other
9 minor changes that we can talk about in the RESOLVE
10 model discussion that E3 will do.

11 These are looking for the three main PATHWAYS
12 demand, and then for high electrification also looking
13 at if you allow offshore wind and if you allow out-of-
14 state transmission to change what the resource mix ends
15 up looking like.

16 Scenarios six and seven are really looking at
17 what's going to be the difference in outcome if you use
18 RPS Plus versus the no combustion of fossil fuel
19 scenario options. This will kind of say what those
20 costs look like. It could be that there's no cost
21 difference, it could be that they're significant. We
22 don't know. And that's one of the reasons why we want
23 to look at it and find out what the model's going to
24 select.

25 The last scenario, scenario eight is purely a

1 reference scenario at this point. This is going to be
2 what if SB 100 was adopted for 60 percent RPS only, but
3 not the zero carbon grid. We know this isn't the case.
4 What this is going to allow us to do is give comparisons
5 between a business as usual and these other scenarios
6 that we're looking at. It will allow us to say, hey,
7 total resource cost is really big, but if you look at
8 what it's going to look at no matter what in 2045, it's
9 not that much different or it actually is different from
10 there, and see how the resource build changes. I can't
11 recall for sure the exact numbers, but CPUC's IRP 2045
12 study had huge, tens of thousands amounts of new solar
13 on there. Is that because of SB 100 or is that because
14 we're just going to have to do that anyways and that's
15 going to be selected. We can start to answer that
16 question a little bit by looking at this scenario.

17 that's what I've got for you today. Please,
18 provide us what comments you have, especially on what
19 models and what desired outputs and measurements you'd
20 like us to look at in the future, as well as any
21 comments you guys have on the scenarios or anything else
22 you'd want to analyze.

23 I'm going to invite Zach to come on up and
24 present on PATHWAYS.

25 ?MS. HERNANDEZGUTIERREZ: We have set up an

1 overflow room in Imbrecht, so I will ask that any Energy
2 Commission staff that aren't directly involved in the
3 workshop to head over there, and we'll be projecting all
4 of the information.

5 MR. SUBIN: All right, I'm going to give a
6 pretty brief intro to the use of the PATHWAYS modeling
7 here and then turn it over to Femi to talk about
8 RESOLVE. For PATHWAYS, we'll just overview the kind of
9 model structure and how we pass those over to RESOLVE
10 and what scenarios we're using.

11 So, you know, the key use of the PATHWAYS model
12 in this study is to provide load projections for kind of
13 the future scale of the electricity system to then test
14 different electricity portfolios in RESOLVE.

15 So, the PATHWAYS model we've used in a number of
16 California state agency studies. And what the model
17 allows us to do is kind of test hypotheses about if you
18 are going to meet economy-wide decarbonization targets
19 what are possible ways that you could meet those targets
20 and then, you know, what you have to do in each of the
21 sectors. It keeps track of stock rollover in key demand
22 sectors where, you know, it takes time to turn over
23 appliances and vehicles to decarbonized options, model
24 energy flows, and greenhouse gases throughout the
25 economy.

1 And it sort of allows you to stay honest by
2 adding up a restricted fossil or biomass budget across
3 all the sectors, instead of kind of looking at one
4 sector at a time to meet an economy wide target. And we
5 also develop a reference or a counter-factual scenario
6 so we can have a consistent comparison to what would
7 have happened in the absence of the decarbonization
8 policy.

9 So, as I mentioned, it's really a -- it's a
10 scenario tool. It's not a forecast or optimization.
11 What it allows you to do is kind of test hypotheses
12 about what you would need to do to meet the economy wide
13 emission targets. So, you know, we call that back
14 casting, kind of starting from assuming we have a
15 decarbonized economy in 2050 or 2045, and then seeing
16 what we have to do in each sector to get to that target.
17 And our reference scenarios are typically aligned with
18 existing data sources from state agencies like IEPR, you
19 know, like from the Department of Finance population
20 forecasts and, you know, some amount of expert judgment
21 establishing current trends.

22 We represent the energy demand in a kind of
23 broadly similar set of sectoral categories to the IEPR.
24 We have eight demand sectors. And we did a pretty
25 comprehensive benchmarking back in 2016, when we were

1 building up the modeling for the CARB 2017 Scoping Plan
2 Update.

3 And as was mentioned, we're doing an updated
4 reference to benchmark to the latest -- the latest IEPR
5 reference. Or, sorry, the latest IEPR forecast.

6 So, we have three sectors that we look into in
7 greater detail, residential and commercial buildings,
8 and transportation, where we represent these by kind of
9 detailed end uses, with stock rollover. So, we have 11
10 subsectors for residential buildings. You know, you
11 have lighting, air conditioning, space heating, et
12 cetera, as well as housing stock turnover. We have a
13 similar representation for commercial buildings.

14 And then, for transportation we have four on-
15 road vehicle subsectors, as well as the treatment of
16 off-road. And then, for some of the other sectors we
17 have kind of a more aggregated treatment of the energy
18 demands across different categories, and we estimate how
19 these can undergo efficiency or fuel switching measures
20 as part of decarbonization.

21 So, an important thing to keep in mind when
22 comparing with a kind of bottom-up forecast like IEPR
23 that's closely benchmarked to different policy choices,
24 the PATHWAYS model is really kind of starting from like
25 an end use appliance level. You know, the number of

1 space heaters that different heating types. You know,
2 in the chart we have gas furnaces, heat pumps, electric
3 resistances. And those will shift over time based on
4 mitigation measures that are input. And, you know,
5 first you calculate sales and then that penetrates into
6 the stock, the full fleet of appliances, and then that
7 allows you to calculate the electricity demand in, you
8 know, terawatt hours for different sectors.

9 And if you were to kind of evaluate, you know,
10 how much electrification or how much efficiency load is
11 there, you really have to compare two different PATHWAYS
12 scenarios. You know, you have to kind of have a counter
13 factual and then subtract the difference. You know, we
14 don't put in kind of efficiency as a measure, it's more
15 like, you know, you have efficient air conditioners, you
16 have efficient light bulbs, and those all kind of stack
17 up.

18 So, now I'm going to talk about how we provide
19 the information to RESOLVE and the scenarios we'll be
20 using for this analysis. So, PATHWAYS provides to
21 RESOLVE, the biggest piece of this information,
22 particularly for this study is the annual loads by
23 category in your total number of gigawatt hours. We
24 also provide some load shape information from a variety
25 of sources for key new loads, and load modifiers, and

1 that's like a normalized 8760 load profile.

2 And then, we can provide electricity sector GHG
3 emissions that are consistent with economy wide goals,
4 which may or may not be binding. If the electric sector
5 has its own policy that's kind of, you know, enforcing
6 faster emission reduction, then that will be what takes
7 precedence. And we used this approach for the CPUC 2019
8 reference system plan. And what we did is we kind of
9 used the PATHWAYS loads as modifiers on the IEPR load
10 forecast, based on forecasts and kind of propagated that
11 through towards 2045 for several different -- several
12 different scenarios for different levels of
13 electrification loads.

14 So, for this study, we've been asked to use four
15 PATHWAYS scenarios. A reference scenario which is
16 aligned with the 2019 IEPR. And then, the three
17 mitigation scenarios from our CEC 2019 study, with some
18 minor adjustments for the updated IEPR. So, that will
19 be the high electrification scenario, the high hydrogen
20 scenario, and the high biofuels scenario.

21 And then, each of those four scenarios will
22 provide load inputs to RESOLVE, and to the extent
23 relevant to the study PATHWAYS would cover sector
24 assumptions for outside the electricity sector.

25 So, in our initial look at benchmarking the

1 updated PATHWAYS reference scenario, we align well with
2 the IEPR mid demand scenario, moving through the 2020s
3 through 2030. And then, the PATHWAYS reference would
4 extend beyond 2030 with, you know, kind of extrapolating
5 the trends built in, with some additional assumption
6 about, you know, continued vehicle electrification being
7 likely the biggest driver for load growth after 2030.

8 The three scenarios we're using were selected by
9 the CPUC and we're choosing the same three to be
10 consistent here for the study. So, the three scenarios
11 that I mentioned. The high electrification scenario
12 includes electrification of buildings and
13 transportation, high energy efficiency, high use of
14 renewables, and limited biofuels. The high biofuel
15 scenario includes imported purpose grown crops and that
16 means that there's fewer direct GHG mitigation measures,
17 such as electrification in other sectors.

18 And then, the high hydrogen scenario tests a
19 higher level of hydrogen electrolysis loads with more
20 heavy reliance on hydrogen fuel cell trucks and lower
21 reliance on all-electric vehicles.

22 So, to kind of look by sector, those three
23 scenarios that were chosen have high electrification
24 buildings in common. The light duty vehicles have very
25 high electrification in the high electrification/high

1 hydrogen scenario, with a little bit lower in the high
2 biofuels. And then in trucks, the biggest difference is
3 we have kind of lower electrification in the high
4 electrification/high biofuels scenario, with increased
5 use of biofuels in other sectors or other measures to
6 make up the difference.

7 In the high hydrogen scenario, there's much
8 deeper decarbonization of -- a direct decarbonization of
9 the trucks with increased use of hydrogen trucks.

10 And then, the scenarios have a relatively high
11 electrification of off-road transportation, but minimal
12 electrification in industry.

13 I'm now going to turn it over to Femi to talk
14 about the RESOLVE modeling.

15 MR. SAWYERR: So, we're going to be doing a bit
16 of a deeper dive into the RESOLVE modeling than we've
17 just done with the PATHWAYS. And then, we'll look at
18 some of the assumptions we're making different from the
19 CPUC IRP 2019-2020 modeling.

20 So, RESOLVE is E3's capacity expansion model
21 that does a linear least cost optimization. It combines
22 investment decisions that you would typically make in
23 your traditional capacity expansion modeling with
24 operational dynamics that you would look at in more like
25 production cost simulations. And so, by doing this

1 combination of optimizing your operational dynamics with
2 investment costs, you come up with a least cost
3 portfolio over a long time horizon that meets your
4 policy needs which, in this case is the SB 100 policy,
5 in addition to some other constraints that we'll be
6 looking at. For example, like GHG emissions from the
7 PATHWAYS modeling.

8 RESOLVE is primarily a zonal model. And the
9 implications of that is in in the IRP modeling we've had
10 the four California balancing areas represented, and
11 then we also have California's connections to the
12 Northwest and the Southwest.

13 In this modeling, we're going to be looking at
14 the State of California, rather than the four Balancing
15 Authorities. And so, what you're going to have is a
16 situation that will be looking at a statewide
17 representation of the model.

18 Generally speaking, flows may be impacted by the
19 transmission you have between zones. It might also be
20 impacted by the amount of resources you have available
21 that can be transmitted between each of the regions.

22 So, to that regard, there are a few limitations
23 with the existing RESOLVE modeling. One of them is the
24 fact that for your RPS constraints, for your planning
25 reserve margin constraints, and for your GHG emissions

1 constraints you can only have one overarching constraint
2 for each of those. And so, this sort of lends itself to
3 a more high level analysis that we're doing in this
4 first stage of our analysis of SB 100.

5 What that means is that even though the BAAs may
6 have different constraints, when we're looking at a
7 statewide analysis we're only going to have one
8 constraint for that. And the same applies for our GHG
9 scenarios and our planning reserve margin.

10 In addition to that, the IRP analysis did an
11 optimization that was strictly looking at the CAISO
12 area. And for the other Balancing Authorities we had
13 some considerations of meeting their policy constraints.
14 In this case, we're going to be looking at an analysis
15 that is statewide for California.

16 And what that means is that each of the
17 Balancing Authorities may not necessarily have results
18 that meet their individual targets, but if we're looking
19 at California as a whole we would meet the policy
20 constraints we're analyzing.

21 And by implication what that means is our
22 results for resource build, for example, are going to be
23 reported at a statewide level and not to the individual
24 local Balancing Authorities.

25 By implication as well what that means is

1 contrary to what was done in the IRP analysis, which was
2 looking only at the CAISO, we're going to be scaling up
3 some of the numbers. So, for example, the GHG
4 trajectory at 46 million metric tons at a statewide
5 level would actually represent that, if we were using
6 that for example. Whereas in the IRP modeling that
7 number came to about 38 million metric tons.

8 Okay. I'm having some blank slides. Can I get
9 some help with this?

10 (Pause)

11 MR. SAWYERR: Thank you. So, one of the things
12 that the RESOLVE model does pretty well is it provides a
13 framework for valuing flexible resources. The challenge
14 when you have a high renewable system, or high renewable
15 penetration system is the fact that on the one hand you
16 have in your analysis a need for renewable overbuild to
17 be able to meet all your capacity and energy needs.

18 And on the other hand, if you're trying to
19 minimize curtailment and over generation, you have high
20 integration costs.

21 And so, what RESOLVE does is it finds that sweet
22 spot in between where you're optimizing the delivery of
23 every megawatt as much as is beneficial to the system,
24 considering your least cost options.

25 And so, flexible resources is selected when

1 they're benefits, which primarily we're looking at
2 reducing renewable generation over build are greater
3 than their cost. And so, by that we could also analyze
4 things like energy storage, as well as other zero-carbon
5 resources as is done in this analysis.

6 And so, like I mentioned initially, RESOLVE does
7 a co-optimization of both investment and operational
8 decisions. And doing that, it basically does it over a
9 long time horizon, like Mark had mentioned before, and I
10 will talk in a few other slides. Because of the
11 computational difficulties in doing this over a long
12 time horizon, in addition to modeling only a sample, a
13 select representative sample days, we also model only a
14 certain number of years. And then, the information is
15 pretty much interpolated within the years that aren't
16 modeled.

17 And so, RESOLVE combines operational detail that
18 directly informs your economic decisions, addressing
19 both your existing resources, as well as future
20 resources. And it is able, using data on your fixed
21 costs for the existing fossil generation, to
22 economically retire some of these resources if they're
23 deemed not necessary, as well as make investments in new
24 infrastructure.

25 And in doing this analysis, the optimization

1 considers certain constraints like hourly load, meeting
2 RPS targets, or an RPS Plus target, and planning reserve
3 margins and GHG emissions.

4 To do this, in our analysis of several scenarios
5 what we end up doing is a situation where you have
6 certain base inputs. What you have as your load
7 forecast, what you have as your generation resources
8 available, as well as what you have as transmission
9 inputs and assumptions on availability and access.

10 And then, you look at certain scenario-specific
11 inputs, which might be, for example resource costs or
12 land use availability affecting resource potential. Or,
13 forecast loads, as we will be doing in this scenario,
14 for this analysis where we're looking at electrification
15 loads, as well as alternative technologies available to
16 you.

17 And then, what you have is we run this through
18 the actual optimization in RESOLVE. And generally, when
19 I speak of RESOLVE here we have the RESOLVE optimization
20 which is done in Python, but we have a toolkit that has
21 both a scenario tool, as well as a RESOLVE tool based on
22 Excel. And so, when we talk about inputs and viewing
23 results, we're dealing mostly with those output tools
24 and input tools.

25 And so, ultimately, we will be looking at some

1 base scenarios, but also looking sensitivity analyses
2 that we will be changing certain inputs and assumptions.
3 And Mark has already spoken about those.

4 There's a lot of data on this slide. The key
5 takeaway is just the fact that RESOLVE, in its
6 generation capacity expansion has several resources
7 available to it, both conventional and renewable, as
8 well as storage resources. And there are certain cost
9 considerations that are considered in such a way that
10 each resource is assessed on an apples-to-apples basis.
11 And so, we're looking both at your capacity value, as
12 well as your energy and ancillary services value for
13 each of the resources.

14 And finally, on this set of inputs and
15 assumptions one of the things we're considering is the
16 fact that there's several policy lenses that you can
17 view your constraints from. With the RPS and your GHG
18 constraints, while both of them may get to the same
19 results they're using different perspectives to view the
20 question of what portfolio you want to have.

21 And so, in RESOLVE we can assess both an RPS or
22 clean energy standard, as well as a GHG constraint. And
23 depending on which is the binding constraint, your
24 resources meet both of these needs.

25 And why this shines in the RESOLVE model is

1 because it has the ability to androgenize the
2 reliability and economic aspects of these variable
3 resources. Something that Mark had alluded to earlier
4 is the fact that when you have a constantly moving a
5 constantly moving system peak as you add more solar into
6 the system that also reduces the capacity value that
7 solar is able to contribute. This also affects
8 resources like wind and energy storage as well.

9 In previous capacity expansion analysis, we used
10 to have four-hour storage be equal to the same capacity
11 value as a perfect capacity resource. But in our
12 analysis, we're starting to see that that is not
13 entirely the case, especially as you have more renewable
14 resources on the system.

15 And so, we are able to do these kind of deep
16 dive analyses of not just renewable resources, but also
17 resources like demand response and energy storage, as
18 well as look at transmission constraints in our analysis
19 of the optimal portfolio you need on your system.

20 And so, RESOLVE does this and we will be using
21 the same inputs that we used in the CPUC IRB model in
22 this analysis, even though it's a statewide level
23 analysis.

24 This slide just gives you an idea of the way
25 resources are represented in RESOLVE. There's a lot of

1 information here. One thing I will say is that
2 ultimately we have tried to make sure that in our
3 representation of the resources we're looking at real
4 world applications of each of the resources we have
5 modeled in RESOLVE.

6 And, finally, this deals with our operational
7 metrics and the sample data that we have in RESOLVE.
8 And so, it uses a linear dispatch formulation where
9 you're looking at the hourly operations in each of the
10 modeled sample data that you have in RESOLVE. And
11 looking at the generation profiles, both for renewable
12 resources, as well as your more dispatch flexible fossil
13 generation, and meeting your daily load in each of the
14 hours you have modeled.

15 RESOLVE has 37 representative sample days. And
16 in the selection of these 37 days, we did this in an
17 algorithm that is separate from the RESOLVE model
18 itself. And several things are taken into consideration
19 for selecting those several -- those 37 sample datas.
20 They cover three years' worth of load and generation
21 profiles for each of the balancing areas within
22 California. And consideration was taken to the
23 distribution of both the generation and the load in
24 representing which historical days we used.

25 And, ultimately, each of these 37 sample days

1 has a weight that gives you one full year of operation
2 in the model.

3 and with that, I will talk through some of the
4 assumptions we're making in our modeling for the SB 100
5 analysis and how these are different from the 2019-2020
6 IRP model.

7 So, like Mark had mentioned before, we're
8 looking at a host of candidate resources. And in the
9 scenarios where we have full candidate resources
10 availability that is going to include existing fossil
11 generation, as well as the more established renewable
12 generation, like solar PV and onshore wind. But we're
13 also going to be looking at offshore wind as well.
14 Geothermal, biomass, we're also looking at energy
15 storage.

16 And for some of the scenarios we will have
17 carbon capture sequestration available. In the no
18 combustion sensitivity, we're going to have hydrogen
19 fuel cells being considered as an opportunity for zero
20 carbon flexible dispatch.

21 And then, in addition to supply side resources,
22 RESOLVE also has some demand side candidate resources,
23 so that includes behind-the-meter PV, behind-the-meter
24 storage, and sheds demand response.

25 In the 2018 -- in the 2019-2020 IRP, the costs

1 there are -- the costs there were based on both the NREL
2 2018 ATB for most of the generation resources, and the
3 Lazard Levelized Cost of Storage 4.0.

4 Since the inputs and assumptions were locked
5 down for that analysis, two new reports have come out.
6 And so, for this analysis we're going to be updating the
7 cost to the 2019 NREL ATB for the generation resources
8 and the Lazard Levelized Cost of Storage 5.0.

9 Financing costs are still going to be based on
10 the NREL ATB. And for our shed DR supply curve, that is
11 going to be based on the existing study that was done by
12 LBNL for California's demand response potential.

13 And then, finally, for resource potential and
14 the land use considerations we're using the supply curve
15 that was developed by Black & Veatch for the CPUC RPS
16 Calculator Version 6.3. What that comes to is a little
17 over 350 gigawatts of solar PV in-state, about 2,000
18 megawatts of wind in-state, and some geothermal and
19 biomass availability as well.

20 For the modeling that was done in the IRP,
21 restrictions were placed on the out-of-state wind to the
22 extent that we were basing that analysis on existing
23 transmission between California and the Southwest, and
24 considering one new transmission line built between
25 California and New Mexico and California and Wyoming.

1 And so, what that comes to is about 3,600 megawatts of
2 out-of-state wind.

3 And I will hand it off to Jesse. Are we doing
4 the next steps or -- all right, so I'm done.

5 MS. WEEKS: Great, thank you. So, now, we're
6 going to shift into an interactive Q&A session. So,
7 we're going to invite E3, as well as Mark Kootstra, and
8 Siva Gunda from the Energy Commission to sit on a panel.
9 And so, first, we'll open it up to questions from the
10 dais. And then, if anyone would like to make a comment
11 or ask a question, we ask you to please come up to the
12 podium and we'll have a mic on right there.

13 And then, following that, I'll also be reading
14 off questions that we're receiving over WebEx.

15 So, now, just open it up to any questions from
16 the dais.

17 COMMISSIONER MCALLISTER: First, I just want to
18 say thanks. So, and just the fact that there were --
19 well, I guess there were 58 slides. You only went
20 through 31 of them so far.

21 But, obviously, a lot of meat to this. And,
22 you know, always on technical topics like this I have
23 concerns about just accessibility. You know, you
24 shouldn't have to be a heavy duty modeler and really in
25 command of all of these tools to kind of understand it.

1 And so, I think part of our challenge today and going
2 forward is just making sure that we -- maybe we'll never
3 be able to put this into truly lay terms, but to make it
4 as accessible as possible to the most people possible,
5 so they can kind of understand. You know, if you're
6 interested, you should be able to understand it.

7 I guess maybe just as a high level kind of
8 coordination question, you know, obviously the -- many
9 -- some of the resources that we're relying on for this
10 are E3, we have staff at all the agencies, particularly,
11 you know, the Energy Assessments Division here at the
12 Commission, and your counterpart, Siva, across PUC and
13 ARB.

14 I guess, can you, starting with Siva maybe, and
15 Mark, but talk about how the batons kind of get handed
16 off between, you know, across the team and how we're
17 going to avoid having little silos kind of spin off in
18 this discussion?

19 MR. GUNDA: Yeah, thank you, Commissioner. This
20 is Siva Gunda, Deputy for the Assessments Division, for
21 the record.

22 So, we have, since last year, been able to
23 double up and innovate better on how to coordinate
24 between the three agencies. So, before I directly
25 answer the question you posed, I just want to thank the

1 IRP team, specifically for the competence they bring to
2 the table in terms of having done this recently, in
3 terms of how they approach this analytically. And also,
4 to CARB staff for bringing in additional consultations,
5 just such as help and such. How do we incorporate into
6 this broader modeling as they embark on the Scoping
7 Plan?

8 So, the current status quo on the coordination
9 is that we meet weekly on an interagency call to avoid
10 the kind of siloedness of this analysis. So, the staff
11 from all three agencies meet weekly to discuss emerging
12 issues in a timely fashion. And being able to talk
13 about not just the process and the structure for what we
14 are implementing for a public process, but also how do
15 we coordinate across analytical work, but also across
16 the different proceedings we independently are also
17 doing in terms of IEPR, Scoping Plan, and IRP.

18 We also currently have an opportunity for the
19 CEC staff from different divisions and I want to thank
20 the Renewable Energy Division, the Research Division,
21 and the Efficiency Division for their participation on
22 this regularly.

23 So, we have a weekly technical meeting where we
24 are able to discuss a lot of the modeling issues
25 together, in one single forum.

1 And also, we have the opportunities with the
2 principals to bring up important considerations if we
3 were not able to resolve at our level, at the staff
4 level, bring these up to the principals' level,
5 Commissioner Randolph, Chair Hochschild, yourself, and
6 also CARB with Chair Nichols and Rajinder, being able to
7 kind of get guidance.

8 So, I think we have a process that meets
9 regularly and discusses emerging issues in the three
10 agencies with our lens, and being able to coordinate on
11 a regular fashion. It also helps that E3 is helping all
12 of us.

13 CHAIR HOCHSCHILD: Yeah, I just wanted -- did
14 you have a comment on that, Mark? Yeah. I just wanted
15 again to compliment the collaboration between all the
16 agencies, which has been outstanding.

17 I did have a question just on the demand
18 forecast and just specific to what's happening with
19 housing. Obviously, the Governor has made this a top,
20 top priority for the state to address the homeless
21 problem, and address the affordable housing crisis in
22 the state. And there's some pretty bold goals in terms
23 of new construction.

24 At the same time, we now have about 30 cities in
25 California that have adopted natural gas bans or

1 electrification preferences in new construction. We
2 expect about 60 by the end of this year. And just given
3 those trends, I mean how are we assessing the demand
4 from new construction in the state? How much is
5 actually going to get built?

6 MR. GUNDA: Yeah, I'll take this and I'll pass
7 it on to someone who can give a little bit on the
8 PATHWAYS side.

9 So, from the demand forecast side, as you know
10 we have an update coming up in 2020. And so, for each
11 of the updates we update the econometric and demographic
12 variables. And that we're looking into getting the
13 latest version of projects for the state to look at some
14 of the new policy goals of the administration baked into
15 our analysis this year.

16 One of the things that we're doing analytically,
17 with E3's support, is to look at how do we bucket the
18 different times of demand forecast and scenarios we're
19 collectively looking at? One of the key aspects here
20 is, so as we look into for example AB 3232 goals, which
21 looks at 40 percent below 1990 levels in residential and
22 commercial sectors, and that kind of looks at -- that
23 yields a certain demand scenario.

24 Similarly, SB 100, when you're looking at the
25 PATHWAYS analysis and looking at an economy wide

1 intersectoral approach, you have one set of demand
2 scenarios. Similarly, when you look at the standards
3 work on 2127 that's looking at transportation you have a
4 variety of demand scenarios.

5 So, what we're trying to attempt to do this year
6 and we probably will attempt it qualitatively, not
7 quantitatively, is to at least frame how are we going to
8 implement these different goals, as well as changing
9 econometric and demographic goals that we have moving
10 forward into a cohesive framework for future analysis.

11 So, at this point for the current version we're
12 going to stick with the 2019 demand forecast, which does
13 have some of the ambitious goals that the Governor
14 recently spoke about. Some of them are baked in because
15 we get some of our values from the DOF.

16 But moving forward we want to create a
17 comprehensive framework on how do we talk about demand
18 forecast, but also the intersection of these different
19 legislations that are coming together.

20 CHAIR HOCHSCHILD: And I had sort of the same
21 question -- oh, do you want to add to that? I've love
22 to hear your thoughts. Yeah.

23 MR. SUBIN: So, first regarding the housing
24 stock. So, PATHWAYS models the housing as kind of in
25 equilibrium with population growth. And I think, you

1 know, the Department of Finance population growth
2 forecast that's baked in the model I would say if -- you
3 know, if we had a lot of new construction, it's probably
4 just sort of closing the loop of consistency so that the
5 housing does actually match the kind of population
6 growth that the state was projecting. You know, this is
7 a little bit of what we saw in some other work on the
8 electrification markets last year. So, you know, I
9 think to some extent that's somewhat included.

10 In terms of the local policies for building
11 electrification, I'd say the PATHWAYS centers we're
12 using kind of bracket the range because the reference
13 scenario is, you know, pretty closely aligned with IEPR
14 which has, you know, very little or no building
15 electrification in the kind of current trends. And
16 then, the high electrification scenario has, you know, a
17 very high level, likely even more rapid than just
18 targeting new construction. So, I think, you know, if
19 you kind of use those two as the bookends you could get
20 a sense of, you know, the possible range.

21 CHAIR HOCHSCHILD: Any other comments from
22 anyone else on the Panel?

23 I had the same question also about
24 transportation electrification. Some major develops
25 obviously happening now in that area. We're adding

1 about 20,000 electric vehicles a month now, in
2 California. It's a leading export for the state today.
3 It surpasses almonds and a bunch of other things. And
4 you see these big announcements coming up. GM is
5 announcing in two weeks their whole future is electric.
6 VW has made that, right. The Ford F-150 is getting
7 electrified. All this stuff, you know, how quickly this
8 all happens is, you know, a question of great interest.

9 I'm just curious of your take on that question
10 and how we account for that?

11 MR. GUNDA: Yeah, absolutely. And I think you
12 continue to raise the important distinction between the
13 demand forecast that we develop for the transmission
14 planning purposes and what E3 support allows us to do in
15 terms of the PATHWAYS to really back cast and understand
16 how to approach the different levels of electrification
17 both in transportation and buildings.

18 So, as Dr. Subin kind of talked about a little
19 bit at a high level, this current report will be based
20 on the PATHWAYS scenarios that we've discussed in the
21 past. So, that's developed in 2018 timeframe.

22 But I think looking, moving forward we have an
23 opportunity to continuously revisit the PATHWAYS as
24 these market dynamics, as well as the goals change.

25 From a forecast perspective, one of the basic

1 requirements are -- the basic limits that we'll meet is
2 the 5 million goal that we have, the ZEV goal for 2030.
3 But beyond that, most of the exploratory work has not
4 been published or used in the study -- or will be used
5 in the study.

6 MR. SUBIN: Yeah, so again we sort of maybe
7 bracket the range of the two scenarios. We have the
8 reference scenario gets to about 4 million zero emission
9 light duty vehicles in 2030, which roughly corresponds
10 with the IEPR, and also the 2017 Scoping Plan scenario.

11 Whereas the mitigation, the three mitigation
12 scenarios reach about 6 million vehicles in 2030, which
13 is above the 5 million that was mentioned in the
14 Governor's goal.

15 COMMISSIONER RANDOLPH: And I was just going to
16 make an observation based on what Siva was saying that,
17 you know, there's a short time frame for this initial
18 report, and I appreciate that we're using what's
19 available to talk about the issues as much as we can.
20 But there's a lot evolving on the ground with the
21 announcements that are coming out, like Daimler in the
22 heavy duty space.

23 But we also have a chance, when we look at the
24 2021-2022 Scoping Plan to get into more of these new
25 details and these new announcements that are being made.

1 I would like to see it, if possible, if we could
2 in the report identify things that are evolving that
3 need to be considered in the near term and long term
4 when we think about SB 100. That way at least we've put
5 out a marker out there that this isn't the end of the
6 story, but that there's an evolution going and that we
7 need to be cognizant, incorporating that as things get
8 developed, and planned, and put out. Thank you.

9 CHAIR HOCHSCHILD: Okay, that's it. Yeah.

10 MS. WEEKS: Okay, great. So, now we'll open it
11 up to comments in the room. And we do ask that if you
12 comment or ask a question that you fill out a blue card.
13 And you can do it after you ask your question.

14 And so, Noemi, our Public Advisor has them in
15 the back there. So, we just want to make sure we're
16 capturing your name and organization if you speak.

17 So, now, we'll open up this podium right here.
18 So, if anyone has a question or comment, please feel
19 free to come up.

20 MS. MALINOWSKI: Yeah, Julee Malinowski on
21 behalf of the California Biomass Energy Alliance. Just
22 a clarifying question. It seems as though you made a
23 distinction between non-combustion in your presentation,
24 Mark, and it was specifically to fossil non-combustion,
25 so we're not talking about other combustion technologies

1 like bioenergy.

2 MR. KOOTSTRA: Correct, but I'm going to restate
3 just to be sure we're on the same thing. If it's RPS
4 eligible and it's combustion, it would still fall in the
5 no combustion of fossil fuel scenario, so it would still
6 be eligible. So, we're not expecting to touch the RPS
7 at this point.

8 MS. MALINOWSKI: No matter which modeling
9 scenario you're working.

10 MR. KOOTSTRA: Correct.

11 MS. MALINOWSKI: Okay. Because then you had
12 said something that confused me even more, but I think
13 we're on the same page right now.

14 MR. KOOTSTRA: I think so, yes.

15 MS. MALINOWSKI: Okay, thanks.

16 MR. KOOTSTRA: Yeah, biomass is still going to
17 be allowed for SB 100 given the scenarios that I
18 presented.

19 MS. MALINOWSKI: Great, thank you.

20 MS. GALLARDO: Hello, this is Noemi Gallardo,
21 the Public Advisor. We have V. John White from CERT,
22 and then following him Roger Lin from UC Berkeley,
23 Environmental Law Clinic.

24 MR. WHITE: Thank you Mr. Chair and Members.
25 I'm sorry, I just got in late. But a couple of things

1 come to mind listening to this conversation. First of
2 all, we are in grave danger of locking in the least
3 ambitious assumptions in some of our plans. We're using
4 out-of-date load forecasts. We have a transmission
5 planning process that is severely constrained by
6 arbitrary point assumptions. And we're in danger, I
7 think, of missing the boat here.

8 So, I don't want to do too much detail, but
9 there's a couple of things that seem glaring in some of
10 the scenarios. We have an -- we have no offshore wind
11 because it seems it's not feasible, which is not where
12 the direction is. We have a number of proposals moving
13 forward. We have transmission plans being done.

14 This is partly why transmission planning has to
15 have a longer term focus because if we use, you know,
16 limited assumptions we're not going to have the
17 transmission we need to get to the targets.

18 Okay, so to me this scenario, multiple
19 assumption thing may be more confusing and complicated,
20 but in fact the world doesn't rely on single point
21 forecasts, particularly in such a dynamic space as the
22 one that we're in.

23 So, I appreciate this process very much. I
24 appreciate the time that all of you all are putting
25 together, and to see the coordination and the

1 cooperation between and among the agencies that's been
2 lacking, and it's important because everybody's got a
3 little different vantage point. We look forward to
4 working with you in discussing these matters further.
5 Thank you.

6 MR. LIN: Good morning, thank you for the time
7 today, and also for the presentations. Roger Lin with
8 the UC Berkeley Environmental Law Clinic. I'm also on
9 the Disadvantaged Communities Advisory Group. And I'll
10 let my colleagues talk in a second about the substantive
11 questions that we have regarding equity.

12 But from a procedural matter, I think one of the
13 questions that we'll keep coming up with, and probably
14 all of the sessions today are whether the consultants or
15 the staff have baked in public participation to get the
16 viewpoints from disadvantaged communities in particular,
17 integrated into the results that you're performing.

18 MS. WEEKS: We have Ben Allen from UC Berkeley,
19 and then after that Danielle Mills from AWEA California.
20 And after her will be Diane Moss, Policy Director of
21 CHBC.

22 MR. ALLEN: Hi, thanks so much for the
23 presentation. Also here from UC Berkeley's
24 Environmental Law Clinic. I had a question for you
25 about the RESOLVE model and how you more specifically

1 plan to integrate equity issues, including air
2 pollution, water pollution, the location of
3 transportation resources, like electric vehicle charging
4 sort of all on a local. How you plan to integrate all
5 of that into the RESOLVE model for this report?

6 MR. SUBIN: So, unfortunately, the RESOLVE model
7 doesn't do that level of local analysis. It does more a
8 transmission level analysis. So, we don't do EV
9 charging and all of that in the capacity expansion
10 model.

11 With regards to equity issues, the level of land
12 use considerations and how that interacts with resource
13 potential is where we look at that analysis. So, for
14 example if you had issues concerning siting, for
15 example, of solar resources or wind resources that would
16 -- that would impact how much renewable potential you
17 had available on your system. But we don't look at
18 local considerations in the analysis. Unfortunately,
19 that's the nature of the model.

20 MR. KOOTSTRA: This is Mark Kootstra. I think
21 that's the nature with most electricity system models.
22 You can't necessarily say this one point will operate
23 this way. And it's just an inherent limitation. You
24 can only get so small. It depends on what demands --
25 how small of demand you can get, how well you can model

1 that system at that size, and even then it's not
2 perfect. So, we can incorporate as we can, but we have
3 to look at a larger scale. We can't go down to
4 individual plants or distribution circuits and still be
5 able to attempt to model what we need to model. So,
6 we're trying to figure out how to do that better and if
7 you have suggestions, we'd love to hear that. But
8 there's just inherent limitations.

9 MR. GUNDA: Yeah, thank you. I just want to add
10 a couple of thoughts. So, first of all, thank you so
11 much for that important comment. So, equity has been an
12 important consideration for the team. We have been able
13 to engage at the DACAG, but also recently did a working
14 session with the EJ communities broadly on the equity
15 issues to help one understand what the limitations of
16 the current modeling paradigm is, but also help them
17 articulate what kind of metrics they would be looking
18 for, for us to generate in the future.

19 So, even though the current paradigm of modeling
20 that we have does not take into account equity as
21 comprehensively as we would like to, we are really
22 looking into feedback on those issues. What are some of
23 the models that you might be aware of, that are well
24 vetted, that could be readily used. But also, how can
25 we qualitatively set this up in the report for both

1 bringing in recommendations, but also setting the stage
2 for the future reports. Thank you.

3 MR. ALLEN: Thank you.

4 MS. OSBORN MILLS: Good afternoon Commissioners,
5 thank you for your panelist discussions. I'm Danielle
6 Osborn Mills with the American Wind Energy Association
7 of California.

8 I just wanted to start with some questions,
9 particularly around the resource availability scenarios.
10 When I'm looking at slide 30, on the CEC slides that you
11 presented, Mark, it looks like there are a variety of
12 technologies that are going to be eligible, but it seems
13 like you're singling out out-of-state and offshore wind
14 as being somewhat more uncertain than other
15 technologies. And I just wanted to get a sense of what
16 the justification for that was and what the challenges
17 you foresaw were.

18 MR. KOOTSTRA: A lot of those restrictions are
19 coming from the CPUC 2045 study. So, we're presenting
20 those as a way that we can duplicate the 2045 study, or
21 largely duplicate them on a statewide level. And so, it
22 mostly goes back to that.

23 And I would encourage the CPUC staff to correct
24 me if I'm wrong here, but I believe that offshore wind
25 was restricted in part because it's an unsure

1 technology, and they're not sure how it's going to play
2 out, what the costs are going to be, or if it's going to
3 be able to be sited. We haven't done anything, yet, in
4 California, so it's a big question unknown.

5 I'm not sure what it is about the out-of-state
6 transmission versus -- which it's not a restriction on
7 out-of-state wind, it's restriction on the transmission,
8 which effectively -- wind is what gets picked up,
9 typically. And I don't know the details of that, but
10 that's there for -- to duplicate the CPUC 2045 studies
11 on a statewide basis.

12 For the other scenarios that we've identified
13 that weren't duplicating that, our base case is planned
14 to be all available resources. So, we would be
15 including both offshore and out-of-state transmission
16 with wind. So, we're not trying to prohibit those for
17 the main course of what we're doing, but trying to do
18 that just to stay as true as we can to the CPUC study.

19 MS. OSBORN MILLS: Okay, thank you. It seems
20 like the ultimate effect of this type of resource
21 analysis is that you're allowing all technologies to
22 compete in all scenarios, except for one of the most
23 obvious and low-cost renewable resources that is
24 available on the system today. So, I would suggest just
25 taking another look at those inputs.

1 We're talking about planning for 25 years out
2 here, so this is a real opportunity to think a little
3 bit beyond where we are today. Out-of-state wind
4 resources are available. There's transmission getting
5 build on a merchant basis and there's discussions
6 underway on a regional level. I know those aren't easy.
7 Believe me, I know the CEC's been involved in a lot of
8 efforts to better plan for transmission, both in the
9 state and regionally. But this is a huge gap in the
10 report, so we need to think about how to rectify that.

11 I also want to clarify that out-of-state and
12 offshore wind resources can be upwards of 50 percent
13 capacity factors. So, when you're comparing that to in-
14 state wind resources that's another serious limitation.

15 And I also just want to note that the feedback
16 that I see the CEC has received to date is to be
17 technology inclusive and to maximize optionality. So,
18 that's a major contradiction in the inputs and studies.

19 And, lastly, the section which requires this
20 study states a need for a diversified and balanced
21 energy generation portfolio. So, we need to think
22 bigger than the 2019 reference case. Thank you.

23 MS. MOSS: Hi, Diane Moss, and today I'm
24 representing the California Hydrogen Business Council as
25 Policy Director. And thank you, it's really exciting

1 that we're here getting to talk about these issues.

2 We've come a long way.

3 On the part about candidate resources, I noticed
4 that you have natural gas generation, you have hydrogen
5 fuel cells for a flexible dispatch. It's great.

6 What about zero carbon hydrogen storage and
7 generation in thermal plants? If you're going to have
8 natural gas, you know, there's around the world, and
9 including here, even in Southern California one of our
10 utilities is looking at transition to 100 percent
11 hydrogen generation. So, is that something that would
12 be considered as one of the candidate resources in
13 modeling?

14 MR. SAWYERR: To respect, is your question
15 considering hydrogen as a drop in fuel in existing
16 natural gas plants or is it as a new resource entirely?

17 MS. MOSS: It would be as a -- well, it would be
18 as a drop in fuel with an upgrade of the turbines to be
19 able to handle, and the equipment to be able to handle
20 hydrogen combustion.

21 MR. SAWYERR: It's something we could consider.
22 It's something we have considered in previous modeling.
23 But we would have to talk with the CEC modeling team
24 about that.

25 MS. MOSS: Okay. And then, what would be the

1 issues with other --

2 MR. SAWYERR: There aren't any limitations on
3 that.

4 MS. MOSS: Okay.

5 MR. SAWYERR: Your question of which resource
6 options and all of that.

7 MS. MOSS: Then, I could encourage you to do it.
8 And the second question I had is also, as Terra
9 mentioned, there's a big concern about including long
10 duration and seasonal storage solutions. I know E3 has
11 talked about this in workshops. Energy Futures
12 Initiative has talked about, you know, that solar, and
13 wind, and batteries, and flexible dispatch are all very
14 important, but we're going to need some kind of gaseous
15 fuel to get to where we need to go. And hydrogen is
16 zero greenhouse gas if it's produced renewably. So,
17 just encouraging. Will long duration and seasonal
18 storage solutions to be included, is that something that
19 may -- it may be in your flurry of slides. I didn't
20 actually have the handout with me. You already talked
21 about that. But that's something that CHBC would
22 heavily encourage, also.

23 And lastly, you know, the RESOLVE model is based
24 on deep decarbonization scenarios. And we've been
25 talking about 80 percent for a long time. But now,

1 we're starting to talk about carbon neutrality economy
2 wide, and that's an Executive Order. ARB is looking at
3 that. Other places like Europe, New Zealand, you know,
4 are starting to look at that, really, how do we get to
5 zero? How do we get to carbon neutral? And so, is that
6 something that you've entertained the possibility of not
7 just going to 46 million metric tons, but how do we get
8 to real carbon neutrality economy wide, and modeling
9 that, and getting ahead of ourselves on that? Because
10 2045 is probably barreling at us faster than we think.

11 MR. KOOTSTRA: So, I think the scenarios that
12 are mimicking with the CPUC, so what CPUC did was they
13 built in GHG constraints.

14 MS. MOSS: Uh-hum.

15 MR. KOOTSTRA: In there, and I think we're
16 planning at least for those scenarios build in some more
17 GHG constraints. We also want to attempt to evaluate
18 how SB 100 is becoming the constraint, and what that
19 falls into without necessarily saying we have to reach
20 this GHG, and all of the sudden the GHG is the limiting
21 factor instead of SB 100. We kind of want to know what
22 SB 100 is doing.

23 So, there is some consideration of how do we get
24 there for sure, but we also want to be sure we're saying
25 this is what SB 100's going to drive, not just what all

1 our policies together might drive us to.

2 MS. MOSS: Right, and so there -- so, we're --

3 MS. SAHOTA: So, I can jump in on the ARB
4 portion.

5 MS. MSOSS: Great, yeah.

6 MS. SAHOTA: You know, you've got the SB 100
7 process here, we've got the AB 74 Transportation Study
8 that Cal-EPA with -- it's a multi-agency effort there on
9 transportation. And what we're trying to do is look at
10 zero, near-zero in all the sectors, looking at the
11 tradeoff for how far we can get. Looking at costs,
12 reliability, consumer acceptance across all the sectors,
13 and technologically feasible across the sectors.

14 And then, in the Scoping Plan we pull all those
15 sectors together to understand where we're left in terms
16 of emissions in the complete system, and how much we may
17 need to look for compensating for any emissions left in
18 the system.

19 And so, that's the way that we've been
20 approaching it at ARB. That's the way that we've been
21 engaging with CPUC and CEC on the SB 100 effort. And I
22 think that's why you see that no combustion scenario in
23 there which is, you know, if you get fossil out of the
24 system what are the tradeoffs between that scenario
25 versus an RPS Plus. And what are the reliability

1 considerations, what are the cost implications, et
2 cetera.

3 MS. MOSS: And when you say no combustion, I'm
4 hearing no combustion and I'm hearing no fossil fuel
5 combustion. Is that no fossil fuel combustion that
6 you're talking about or no combustion at all?

7 MS. SAHOTA: So, it depends on which -- and I
8 mix the two between AB 74 and SB 100, so I apologize.

9 MS. MOSS: That's okay.

10 MS. SAHOTA: In AB 74 we're looking at no fossil
11 combustion, period. Right, because it's the largest
12 source of air quality issues and --

13 MS. MOSS: For transportation.

14 MS. SAHOTA: Exactly. Here, we're talking about
15 no combustion.

16 MS. MOSS: Okay

17 COMMISSIONER RANDOLPH: And I just also wanted
18 to follow up on Mark's point, or Mark's response to your
19 question, which is that the 46 million metric ton GHG
20 constraint is an IRP constraint in the IRP process to
21 2030, and as that constraint.

22 MS. MOSS: Uh-hum.

23 COMMISSIONER RANDOLPH: This process of looking
24 at SB 100 is broader than that. It's looking statewide,
25 it's looking at resources throughout the system. It's

1 looking at how do we get to a zero carbon out to 2045.
2 So, they're just -- they're bearing on each other, but I
3 just wanted to make it clear that the modeling they're
4 doing is not a 46 MMT constraint.

5 MS. MOSS: Thank you.

6 MS. GALLARDO: We have Mary Solecki of ADW
7 [sic]. And if I got the name of the organization wrong,
8 Mary, please correct that.

9 And then, after her will be Sergio Duenas with
10 California Energy Storage Alliance.

11 MS. SOLECKI: Hi there. Thank you. Mary
12 Solecki with AJW. Just a couple of questions. On the
13 CEC presentation, Mark, your slides 31 and 32, you talk
14 about the possible scenarios and the current proposed
15 scenarios. I guess I was hoping to see a little bit
16 more detail behind, you know, some of the broad strokes
17 of those. So, curious when and how we might be able to
18 see a little bit more of that?

19 MR. KOOTSTRA: We'll have to talk and figure out
20 when we can release something a little more detailed and
21 what will look like. Almost certainly by the time we
22 get results we should be able to give you more detail.
23 But want to make sure we've got all the details right.
24 As Femi presented, we are updating some cost numbers, so
25 not everything's been fully fleshed out to date. This

1 is what the input assumptions are. We don't want to say
2 here are the input assumptions and we're changing it
3 three weeks later and have everybody be surprised.

4 MS. SOLECKI: Okay.

5 MR. GUNDA: And just to follow up on that, our
6 hope for this workshop is to get some ideas. So, after
7 this workshop is concluded, the interagency team will
8 have an opportunity to kind of read all the comments and
9 develop more scenarios.

10 And one of the things we are entertaining right
11 now, between the interagencies, is potentially doing a
12 webinar.

13 MS. SOLECKI: Uh-hum.

14 MR. GUNDA: Just to kind of provide a little bit
15 more detail between now and the modeling, some of the
16 final take scenarios and interpretations of the bill.

17 MS. SOLECKI: Yeah, that would be helpful.

18 MR. GUNDA: Thank you.

19 MS. SOLECKI: So, the second question, I guess
20 it's a little bit on the process side. As Terra
21 mentioned at the beginning, defining zero carbon is an
22 important part of this, and I didn't really here, hear
23 any additional discussion about how to define that,
24 unless I missed that. When and where does that happen?

25 MR. KOOTSTRA: It's mostly it was brought up

1 between the two different scenarios of RPS Plus --

2 MS. SOLECKI: Uh-huh.

3 MR. KOOTSTRA: -- which would be the eligible
4 resources under one scenario, which would include
5 natural gas with carbon sequestration.

6 MS. SOLECKI: Uh-hum.

7 MR. KOOTSTRA: Or, a now combustion of fossil
8 fuel scenario.

9 MS. SOLECKI: Got it.

10 MR. KOOTSTRA: And those are kind of the
11 bookends that we're looking at, at this point. If there
12 are comments on what we should be doing somewhere in
13 between, we can look at that and move from there.

14 MS. SOLECKI: Great, thank you very much.

15 MR. DUENAS: Hi everyone, thank you for your
16 presentations. They were very interesting and helpful
17 to understand the point of the process we're facing.
18 Oh, by the way, I'm Sergio Duenas with California Energy
19 Storage Alliance.

20 I have a couple of questions mainly about
21 resource availability. I heard in the presentation that
22 hydrogen fuel cells are being considered as candidate
23 resource in the no combustion case. Is it only in those
24 scenarios or in all scenarios?

25 MR. SAWYERR: So, it will be considered in all

1 scenarios. But like we were having it as a combustion
2 or having it as a candidate resource in the no
3 combustion scenario, so you also have flexible dispatch
4 --

5 MR. DUENAS: Great.

6 MR. SAWYERR: -- zero carbon resource.

7 MR. DUENAS: A bit of a follow up on that one.
8 In slide 29 of the same deck, we have the total
9 levelized fixed costs for resources. But I don't see
10 hydrogen costs there. I guess because it is usually
11 difficult to get this sort of data in the market that
12 you are working on those. Will those be public? When
13 do you think we could take a peak?

14 MR. SAWYERR: So, first off, let me say if we --
15 if you do have an idea of publicly available data on
16 that, we will totally welcome it. The resources, the
17 resource costs here are from the two sources that we
18 mentioned, so the NREL 2019 ATB and Levelized Cost of
19 Storage from Lazard, which are both publicly available
20 at the moment.

21 MR. DUENAS: Well, one of the issues that --
22 this is a comment mixed with a question. One of the
23 issues that we think RESOLVE might face when trying to
24 do this sort of modeling is that because of its
25 structure, having 37 independent days, it doesn't full

1 capture the benefits of having a long-term arbitrage of
2 electricity. Via, for example, storage in the form of
3 hydrogen or pumped hydro.

4 So, I was wondering if you're thinking about one
5 of two options. The first one would be increasing the
6 optimization horizon to have consecutive days,
7 potentially. I know this might be very disruptive for
8 the model, itself. I've used it and it seems that it's
9 not that easy.

10 Or, the other one, maybe play with the original
11 state of charge, of storage when a new day starts.
12 Would the state of charge begin at zero in an
13 incremental way?

14 MR. SAWYERR: This is going -- this is going
15 pretty much in the weeds on the actual like operations
16 of the model. What I will say is for certain resources,
17 like hydro for example, we do have the ability to share
18 energy, and then you have a total within -- I have to
19 check this to be sure. But I know you have the ability
20 to share your energy within a certain limit of days.

21 We don't do that for battery storage at the
22 moment, where what you have is a situation where you
23 need to have a particular closed cycle within each day.
24 And so, I guess that's getting to your point, or the
25 point you mentioned earlier.

1 With hydrogen storage, I'm not sure we have that
2 modeled at the moment, and so I can't speak to that.

3 MR. DUENAS: Yeah, we'd be glad to help out in
4 this sort of thinking through these issues in the
5 process of the modeling. And as well, in your answer
6 you just said hydro. Did you mean pumped hydro or just
7 hydroelectric generation?

8 MR. SAWYERR: Hydroelectric generation.

9 MR. DUENAS: Okay. So, for pumped hydro that's
10 not the case, either? Okay, thank you. Thank you very
11 much.

12 COMMISSIONER MCALLISTER: So, I want to just
13 jump in real quick and I know, so you said this is
14 really in the weeds and stuff, but I think the -- I
15 would just encourage us to have these kinds of
16 conversations. Because I think being explicit about
17 what the modeling, you know, can and cannot do, and
18 directing investments to add modules or add, you know,
19 iteration, even, you know, kludgy ways of passing
20 between models and, you know, I think we need to be
21 explicit about that. You know, what our answers mean
22 when we get them, right? Because that's always the
23 problem with models is that you think they say more than
24 they actually say, or vice-versa.

25 So, anyway, I think these are really critical

1 because the system issues, you know, I think we need to
2 learn about as we go forward, and we're laying the
3 groundwork for that. So --

4 MR. DUENAS: And if I may elaborate a little bit
5 on your comment, too. Our main concern, just to clarify
6 is we believe that the system going towards a
7 decarbonized future will need a vast array of resources
8 that are diverse in their applications in order to
9 maintain reliability in a cost effective way.

10 And generally, some resources here, such as
11 longer duration storage resources would have some costs
12 that are higher than others of their peers, right. But
13 they would have benefits that couldn't be really
14 captured in a simulation that only takes each day
15 completely independent from the next. We know that is
16 not the case in reality. And we know there might be
17 several weeks or several days where we don't have enough
18 sun, where we don't have enough wind, and we don't want
19 to keep burning fossil fuels, naturally.

20 So, it's a good idea to think how we can
21 represent these complexities in the model without
22 breaking it, without breaking the efficiency of the
23 process, but also capturing this. Thank you.

24 MR. SAWYERR: One point just to close the loop
25 on that is that we do consider the situation where you

1 don't have the sun shining, or wind blowing over an
2 extended period of time. It's one of the things we call
3 the dunkle flautea constraint, which actually does
4 address that point. But we will note that the long
5 duration storage is something that we are considered for
6 additional analysis in the model.

7 MS. GALLARDO: Up next we have Bob Mitchell, Co-
8 Founder of CEDC. Then, Deepika Nagabhushan of the Clean
9 Air Task Force. And after her will be Gregory John
10 Stangl, CEO of Phoenix Energy.

11 MR. MITCHELL: Good morning and thank you for
12 making this workshop possible, and for all your
13 participation. My name is Bob Mitchell, with the
14 California Energy Development Company.

15 I was involved in California when we had the
16 energy crisis in 2000 and 2001, with rolling blackouts
17 in the Bay Area, and so on. And was instrumental in
18 putting together a public/private partnership with PG&E
19 and with the U.S. Government Department of Western Area
20 Power Administration. And my company was Trans-Elect.

21 And we were able to come in, in 2001, and look
22 at what one of the problems was that was causing this
23 energy crisis. And it was a transmission problem on
24 Path 15, an 83-mile stretch of cable, or a transmission
25 line that had not been built back many years before when

1 it could have, and was planned.

2 Under the domain today, I don't think we ever
3 would have been able to get that project approved and
4 built, and from 2001 to operation in 2004. It's amazing
5 the process that's been created. I, frankly, don't
6 understand it all that well. I might be the only person
7 in the room who doesn't.

8 But we now are proposing to build a sub-sea
9 cable from Diablo Canyon switchyard down to L.A. And
10 that line would enable, if it were built today and five
11 years from now, to eliminate 2,000 megawatts of gas-
12 fired generation.

13 But we're having a dickens of a time getting
14 consideration of that because of an arbitrary setting of
15 LCR prices. And the line has been shown by an analysis
16 of the Cal ISO that it would be economical, it would be
17 a savings to the ratepayers assuming that the cost of
18 the LCRs would be essentially what they are today. But
19 because of rules and regulations, and processes that I
20 don't totally understand, what would normally be a 6
21 dollar and something or another LCR price, is sent from
22 the CPUC to the Cal ISO, and the price is not what is
23 the price, 6 dollars and something today. But it's cut
24 down so that our line is evaluated on the basis of, I
25 think it was a dollar 37. Which at a dollar 37 LCR

1 price, it isn't economical. It comes close, but it's
2 not economical.

3 If it were properly priced, it would become
4 economical and we could proceed to build the line that
5 would enable 2,000 megawatts of power to be transferred
6 into the L.A. Basin. That makes it possible for 2,000
7 megawatts of gas to be eliminated.

8 I invite you to reexamine that feature of
9 transmission planning to see why it is that we can't
10 make something like this happen.

11 I was a little surprised, Mark, with your
12 comment about offshore wind not being understood -- or,
13 what was the phrase that you actually used? Not proven,
14 perhaps.

15 MR. KOOTSTRA: I'm not sure what phrase it
16 exactly was, but I think it's it hasn't been deployed
17 and shown here.

18 MR. MITCHELL: But if you're not including
19 offshore wind because. And I'd just point out that, you
20 know, we've had offshore wind in Europe since the late
21 1990s. On the East Coast today there's 27,000 megawatts
22 of offshore wind that's been authorized, approved as a
23 goal.

24 Now, you can say on the East Coast it's because
25 the outer continental shelf slopes very gentle and it's

1 possible to have monopoles put in, or jackets, and have
2 offshore wind built.

3 We don't have that luxury on the West Coast
4 here. But what has happened and has been proven in
5 Europe and other places in the world is that remarkably,
6 in my mind as a non-engineer, it is possible to do
7 floating platforms in water as deep as a mile deep, and
8 to put a turbine on a floating platform that can
9 withstand waves of 40, 50 feet, and winds well in excess
10 of 140 miles an hour. And a 10 to 12 megawatt machine
11 on top of these towers.

12 And the wind blows off of the California coast
13 exactly at the time that we have the experience of the
14 duck curve and the high demand in the late afternoon.

15 MS. WEEKS: Excuse me sir. We have quite a few
16 questions to get through, so if you wouldn't mind
17 wrapping it up shortly, thank you.

18 MR. MITCHELL: I'm sorry. I'm as old as Joe
19 Biden and so --

20 (Laughter)

21 MR. MITCHELL: -- I'm sorry. Well, the point is
22 that power is needed in the late afternoon when the
23 solar's going down and so on, and offshore wind is a
24 fantastic resource that the state ought to get
25 aggressive about. So, with that, I'll close and say

1 thank you very much.

2 MS. WEEKS: Thank you. And we also invite
3 everyone to submit written comments, if you do have
4 lengthier comments that you would like to submit, we
5 really appreciate that.

6 Also, just building on that question, we've also
7 received a number of questions over WebEx on
8 transmission planning generally. So, wondering if the
9 panel can just address that more broadly and how it
10 relates to the TTP process as well.

11 COMMISSIONER MCALLISTER: So, Terra, do we know
12 if there's anybody from the ISO on the line, or I don't
13 see anyone in the room. Anyway, just by way of
14 reminder, you know, we are actually -- this process does
15 consult with the ISO as well. So, the ARB, and the PUC,
16 and the Energy Commission are the three lead agencies,
17 but ISO's a key contributor to the process as well. So,
18 you know, this is certainly an area that they could
19 opine on.

20 MS. WEEKS: Right. And we will have Delphine
21 from CAISO on our Session 2 Panel. I don't see her in
22 the room, yet. But we can also punt this question to
23 that session, if it makes more sense to address there.

24 MS. NAGABHUSHAN: Hi, my name is Deepika
25 Nagabhushan. I'm from the Clean Air Task Force. A

1 question, two questions and a clarification. This might
2 be a little bit of a repetition, but I think I need a
3 little bit more clarification.

4 The first point is a question on including
5 climate-related risk in the modeling. Some work has
6 been done that shows that warming climate may reduce
7 wind speeds and hydro reservoir volumes, and there's
8 fire risk to electricity transmission.

9 So, I just wanted to ask what kind of stress
10 testing are you planning to include in your scenarios?

11 MR. SAWYERR: So, currently in the RESOLVE
12 model, with the selection of the sample datas we
13 actually look at a variation of hydro years. So, it
14 covers wet years, average years, and dry years. So,
15 that sort of speaks to the understanding that we will
16 have variation of hydro situations in the future.

17 With respect to the climate impacts on renewable
18 generation profiles, we're currently using historical
19 data in our modeling because there's really no way right
20 now to do an analysis, a proper analysis of what exactly
21 those climate impacts will be. Whether that's with
22 solar generation as the climate warms up or affecting
23 wind generation. So, for now, we're just using
24 historical data.

25 MS. NAGABHUSHAN: Okay. Well -- sorry, go

1 ahead.

2 MR. GUNDA: I was just going to add to that. I
3 think Mark, in his presentation kind of talked about
4 some of the critical gaps in the modeling that we have.
5 One of the things that it's trying to understand, as
6 you're suggesting, is different variations of climate.
7 And that's something we'll be looking into in the
8 future, but also one of the tools we can bring into
9 this. Thank you.

10 MS. NAGABHUSHAN: Okay. And then, here's the
11 clarification question. I see that in the SB 100 RPS
12 Plus scenarios there isn't hydrogen. But then, we've
13 spoken about hydrogen and so I'm confused in what way
14 hydrogen plays a role in your scenarios. Again, I'm
15 sorry, but I had to bring it up.

16 MR. KOOTSTRA: That's okay. You're right,
17 hydrogen isn't explicitly put in this stack. If it's
18 produced renewably and it doesn't have any emission
19 combusting out of it, it should be able to qualify,
20 especially under the RPS Plus definition.

21 MS. NAGABHUSHAN: As a drop-in fuel in a natural
22 gas-fired powered plant, okay.

23 MR. KOOTSTRA: It depends. If it's a mix of
24 fuels and we have to figure out if the plant wouldn't
25 actually be zero emissions. So, we have to figure those

1 types of things out.

2 MS. NAGABHUSHAN: Uh-hum.

3 MR. KOOTSTRA: Yeah, if the hydrogen's produced
4 renewably and it's running through a fuel cell, yeah,
5 it's going to be fine. It would be something in my
6 understanding should qualify for the RPS fill because
7 the hydrogen's renewably sourced.

8 MS. NAGABHUSHAN: Uh-hum.

9 MR. KOOTSTRA: And so, that would be fine. If
10 it's other situations, it may get a little sticky. But
11 generally speaking, if it's truly renewable hydrogen, it
12 should be fine.

13 MS. NAGABHUSHAN: Okay. So, on that note my
14 next point is that we would like for, you know, you all
15 to consider hydrogen power generation as a zero carbon
16 source, as a zero carbon resource. And there are
17 different ways to produce hydrogen in a zero carbon way,
18 which could include steam-methane reforming with CCS.
19 And coming to CCS, I just want to say that with both of
20 these technologies, I would like for the modeling to
21 consider cost reductions based on synergies across
22 sectors. So, because there will be shared
23 infrastructure and so, that would mean higher
24 utilization rates. And so, for both hydrogen production
25 and CCS, we will be very happy to help, you know,

1 participate in addressing cost assumptions just to
2 incorporate cross-sector synergies.

3 MR. KOOTSTRA: Absolutely, thank you.

4 MS. NAGABHUSHAN: Thank you.

5 MR. STANGL: Good morning. Greg Stangl. I
6 appreciate you guys and ladies laboring in the kitchen
7 here so we can all come and critique your food. It's
8 tough. It's a tough gig.

9 Is there any scenario in which the CEC is
10 excluding or considering excluding the combustion of
11 biogas or biomass?

12 MR. KOOTSTRA: Not at this time.

13 MR. STANGL: I hope I can clear out ten percent
14 of this room with that question. Thank you very much.

15 MS. GALLARDO: All right, next we have Evan
16 Edgar of the California Compost Coalition. And after
17 him, Jim Shetler, General Manager of BANC.

18 MR. EDGAR: Evan Edgar on behalf of the
19 California Compost Coalition and Clean Fleets. We're a
20 producer or renewable natural gas and today that is
21 carbon negative fuel as a transportation fuel over with
22 the Low Carbon Fuel Standard.

23 Plus, as another path that's being considered by
24 dairy to make it a carbon-negative electricity. So, the
25 role of RNG as a resource is not explicitly mentioned

1 anywhere. And to follow on the question by Stangl, we
2 should not be excluding anything with regards to RNG as
3 a resource being available and the recognition of RNG
4 being carbon negative today. We're talking about deep
5 carbon in 2045 and today, with regards to removing
6 methane from landfills and making RNG, we're carbon
7 negative today. And to miss that opportunity and not to
8 expand on that opportunity is a big miss.

9 We're keeping our near-zero trucks, the refuse
10 fleet alive with RNG in-state. There's a mandate for
11 1383 to get organics out of the landfill, and 75 percent
12 organics by 2025. And these methane landfills are a
13 mass emitter today. So, we're doing that by 2025,
14 getting this methane out of the landfill, put in our
15 trucks, be carbon negative. So, the whole refuse
16 industry will be carbon negative by 2030. That's right
17 now, in front of us. And to leap over that to look at
18 carbon neutral by 2045 is skipping over the best
19 opportunity today in front of us.

20 So, let's preserve a role for RNG as a resource.
21 Thank you.

22 MR. SHETLER: Good afternoon. Jim Shetler of
23 Balancing Authority of Northern California. Just based
24 on some very quick discussion with a couple of the other
25 Balancing Authorities, I think we do have a bit of a

1 concern about the statewide modeling and not having a
2 look at individual Balancing Authorities. We'll plan on
3 providing some more specific comments on that.

4 MS. GALLARDO: Okay, we have Julia Levin or
5 Levin. Is she here? Okay. Last call for Julia.

6 UNIDENTIFIED SPEAKER: She left.

7 MS. GALLARDO: She left, okay. All right, this
8 is Noemi Gallardo, Public Advisor. I've been asked to
9 relate a comment from someone who's joining by WebEx.
10 Mark Roest, R-O-E-S-T. I will summarize this because
11 it's very long and we'll put the remainder into the
12 docket.

13 Mark said, "Please look at the possible
14 extremely rapid growth of BEV sales, and conversions,
15 and concomitant growth of distributed solar energy using
16 both rooftops and solar canopies to meet needs of both
17 building and all the vehicles associated with it. We
18 will be able to support that with a suite of
19 technologies, batteries with 3 to 5 kilowatt hour per
20 kilogram capacity, selling at under \$100 per kilogram.
21 Mass production in two years. 48 percent to 50 percent
22 peak solar efficiency thin film. Meet whole sale market
23 price with ample margin, mass production in one to two
24 years. Because the sun and wind are free and the
25 purchase costs while continue to fall while longevity

1 increase, the point of cost recovery will come very
2 quickly, more so going forward. The levelized cost and
3 purchase price will be lower than BAU after financing is
4 paid off for both on-site solar and BEV conversions or
5 new purchases. This will result in adding circa 20
6 percent to the income available for use for each market
7 participant from consumers to fleets. Please examine
8 the high distributed generation with an economic
9 motivation of getting to free energy per the above
10 statement. It will be highly attractive when all of the
11 pieces are in production and marketed together.”

12 And those are all the blue cards I have. Final
13 call for any other comments in the room. Okay, Terra,
14 I’ll turn it over to you.

15 MS. WEEKS: Great, thank you. So, we have
16 received a number of comments over WebEx, but I think
17 first we’ll go to the phone. We had a couple of folks
18 with comments, so we’ll just go ahead and unmute them.

19 MS. MURIMI: We have Ramon Gaez [sic] -- Gamez,
20 sorry.

21 MS. WEEKS: Okay, it looks like he may have
22 dropped off. So, I’ll go ahead, we have received quite
23 a few written comments. I think I can kind of group
24 some of them together. Again, they will all be docketed
25 and we’ll have another public comment period at the end

1 of the workshop today. So, if we haven't addressed your
2 specific question, we have received it and we'll try to
3 address them throughout the sessions this afternoon and
4 then, again, in the public comment session.

5 So, there are quite a few questions around
6 specific assumptions around technologies, including
7 solar PV. So, again, maybe you could just speak broadly
8 to how we're gathering the assumptions that we're using
9 for cost of technologies. And maybe, again, Siva, if
10 you want to just talk about opportunities for us to
11 better engage with stakeholders on the assumptions that
12 we're making.

13 MR. SAWYERR: So, like Mark has mentioned
14 before, we're trying to us as much as possible the CPUC
15 IRP model, so that we can have an apples-to-apples
16 comparison between the CAISO-wide modeling and the
17 statewide modeling.

18 And for the inputs and assumptions that were
19 used in the 2019-2020 RSP, the generation data for costs
20 was gotten from the NREL Annual Technology Baseline from
21 2018. For the storage costs, it was gotten from the
22 Lazard Levelized Cost of Storage 4.0, which came out in
23 2018.

24 For this analysis, we're using the NREL ATB from
25 2019, as well as the Lazard Cost of Storage from 2019.

1 MR. KOOTSTRA: And I think, too, correct me if
2 I'm wrong, Femi, but there is additional detail in
3 slides that were presented and posted as part of the
4 CPUC IRP studies. That's a good source. If we haven't
5 explicitly said something different, chances are it's
6 going to be very similar, if not the same.

7 MS. WEEKS: And can you also just speak to the
8 specific storage technologies that we're looking at?
9 There was a question specifically around lead acid
10 batteries and whether that's covered.

11 MR. SAWYERR: So, we're looking at lithium-ion
12 batteries and flow batteries. So, I imagine the lead
13 acid would fall under the flow batteries.

14 MS. WEEKS: Great. And then, Siva, did you want
15 to add anything else?

16 MR. GUNDA: Just to kind of reiterate, one of
17 the goals of this workshop is to kind of share our
18 current thinking, where we are going with the scenarios
19 and the assumptions. And we're really hoping that
20 stakeholders will put in some comments on specific
21 recommendations on either the scenarios, or cost curves,
22 or assumptions, or any of that. So, I just wanted to
23 reiterate that point. Thank you.

24 MS. WEEKS: Great. And then, we also received a
25 question regarding the conversation around retail sales.

1 So, Jeff Kessler asked: "During the CEC modeling
2 discussion it wasn't clear if within the modeling matrix
3 line losses would be treated as counted under SB 100
4 requirements or excluded? Without also modeling line
5 loss under SB 100, it will be hard to know the impact."

6 So, I'm going to turn this over to Siva to
7 respond to.

8 MR. GUNDA: Thank you for that. We currently
9 are figuring out the best way to think about the supply
10 of retail sales. That's something that the three
11 agencies are deliberating on how best to interpret the
12 supply of retail sales. So, the comments are welcome on
13 that as we continue to deliberate.

14 One of the -- just to kind of use the words of
15 Commissioner McAllister, one of the hopes of this
16 report, not just for this year but, hopefully in the
17 future, is to draw a boundary around the analysis that
18 really stands the test of time. So, being able to
19 analyze a variety of scenarios and to advance the public
20 conversation on these things.

21 So, some of the aspects of interpretation are
22 very easy from the bill. Some of them are not, and
23 those are the reasons why we are putting those out there
24 for public comments, so we can get some information as
25 we form our consensus. Thank you.

1 MS. WEEKS: Great. Unless there are any
2 additional comments in the room, I'm going to propose we
3 end there. I think a lot of the remaining questions
4 will be addressed during the two sessions this
5 afternoon, and we can revisit them again in public
6 comment.

7 So, I'd just like to say thank you to all of our
8 presenters and panelists this morning. And we'll plan
9 to reconvene in one hour, so just right around 1:10.
10 Thank you.

11 (Off the record at 12:09 p.m.)

12 (On the record at 1:13 p.m.)

13 MS. WEEKS: Good afternoon everyone. I hope you
14 all had a nice lunch. So, we are now reconvening with
15 our two panel sessions for the afternoon.

16 So, first up we have our Panel on Reliability,
17 with the California Balancing Authorities. So, this
18 session will moderated by Chris McClean from the Energy
19 Commission.

20 On the Panel we have Delphine Hou from the
21 California Independent System Operator, Jason Rondou
22 from Los Angeles Department of Water and Power, Jim
23 Shetler of Balancing Authority of Northern California,
24 Marilyn del Bosque Gilbert from Imperial Irrigation
25 District, and Dan Severson from Turlock Irrigation

1 District.

2 And with that, I'll hand things over to Chris.

3 MR. MCCLEAN: Great, thank you, Terra. I wanted
4 to thank you all for your engagement to date and really
5 looking forward to this afternoon's presentations from
6 each of you.

7 I think if you're comfortable presenting from
8 where you're at, we've got a clicker here. If you
9 prefer to go to the center podium, that's fine as well.

10 I've reviewed some of the material. I know
11 we're rich in slides and perhaps short on time. So, I
12 don't want to waste a lot of it with a setup. So, I'll
13 just note that the folks you see here on this Panel are
14 really at the implementation cutting edge for how we go
15 about meeting these technological challenges.

16 We've got a really diverse set of entities that
17 fulfill the Balancing Authority role. Some of them
18 serve no load. Others do have sort of both an
19 operations and planning mandate before them. Some span
20 most of the state, others are focused in some of the
21 areas where the state's disadvantaged communities are
22 really in need of a very well thought out and well
23 discussed solution.

24 So, I think you'll see that as we go through the
25 presentations today. And, you know, we'll likely hear

1 about new market opportunities. We'll hear about folks
2 who stick to a good neighbor policy, which is so core to
3 utility operations. And I think we're in for a real
4 treat this afternoon.

5 Without further ado, I think we'll move through
6 in the order that we've presented in the agenda. So, I
7 think first up we have Delphine from California ISO.

8 MS. HOU: All right, thank you very much. Thank
9 you very much, Chris. My name is Delphine. I am the
10 Director of California Regulatory Affairs from the
11 California Independent System Operator.

12 Thank you, Chair Hochschild and Commissioners
13 for having us here, and fellow panelists.

14 So, we have a couple of slides, but I won't go
15 through every detail on every slide. But I'll start off
16 on the second slide as these were the five main
17 questions that were posed to Balancing Authorities. And
18 some of them, we're really excited that have been teed
19 up because we think they are very important discussions.

20 So, the first one I want to go through, which
21 some folks have seen this slide before. But as Chris
22 mentioned, we are a Balancing Authority in California,
23 but we do not serve load. Even though we encompass 80
24 percent of California load, we do depend on local
25 regulatory authorities for resource adequacy, the

1 largest of which is the California Public Utilities
2 Commission. And that's fairly important to remember
3 because a lot of this will be about California ISO's
4 relationship to those regulatory, local regulatory
5 authorities and providing them feedback on reliability
6 and trends. However, we will not be the entity in the
7 first instance to do any sort of procurement. So, there
8 really is that partnership and that sharing of
9 information that has to happen.

10 So, the first question that we were asked -- or,
11 sorry, the second question that we were asked was about
12 flexible and dispatchable resources. And we are very
13 glad to be asked that question. Because going back as
14 early as 2012, the CAISO has really been highlighting
15 this issue through our infamous or famous duck curve.
16 As we're wont to say at the CAISO, we never leave home
17 without our duck.

18 But that's interesting because we've really
19 exceeded those expectations. And I'll show you on this
20 next slide. So, what we've done here is we've mapped
21 out from 2013 the actual kind of quote/unquote
22 flexibility needs.

23 In hindsight, when you look at the 2013 actual,
24 it basically looks like a flat line today. Whereas
25 before, we were quite concerned about how much ramping

1 and flexibility we would need. Today, comparatively, it
2 hardly even registers on this slide.

3 But if you look at 2019, the actuals there from
4 the beginning of the year, we had a maximum three-hour
5 ramp of over 15,000 megawatts. Now, going forward, we
6 took an illustrative -- this was not approved. I just
7 want you to know this was not approved by the CPUC, but
8 it was an illustrative portfolio from the Integrated
9 Resource Plan that looked at a potential build out, with
10 a significant amount of solar and storage. And so, we
11 ran that through as an illustrative example.

12 And here, we can see that potentially by 2030
13 our ramping needs could increase up to maybe,
14 approximately 25,000 megawatts. That's huge. That's
15 like over 11 Diablo Canyon's turning on one after the
16 other.

17 So, those are the things that the CAISO is
18 thinking of as we receive and see these portfolios from
19 our local regulatory authorities, to run that through
20 the reliability analysis to feed that back into the
21 public sphere to say, hey, this is what it looks like.
22 This is what our operators will be dealing with.

23 And so, how do we rally together to make sure
24 that we have a reliable system for the future?

25 So, today, in order to meet those needs, we are

1 using vast amounts of both natural gas and hydro
2 internal, and then imports. Those imports from external
3 entities could also be comprised of natural gas and
4 hydro as well, but those are largely the three types of
5 resources, hydro, natural gas, and imports that we're
6 using today for operational flexibility.

7 So, one thing that we want to focus on is what
8 are we looking at for the future? And I think we're
9 looking for resources that have those same operational
10 characteristics to be dispatchable. But I think what
11 we're really seeing, especially from the preliminary
12 modeling that we've outlined here is that the models
13 tend to drive towards a singular solution, which is a
14 lot of solar, bolstered a little bit by short duration
15 batteries.

16 And so, that brings us to the next reliability
17 issue that we do want to highlight. Which is, if you do
18 have that kind of portfolio mix, what do you do when you
19 have multiple days of cloud coverage for example? And I
20 know that's not a new issue. That's been brought to
21 this forum and other folks have mentioned it within the
22 context of SB 100. But we do want to reemphasize it
23 here because part of that is looking at the modeling
24 framework, trying to understand what it tells us, and
25 then trying to find the solution.

1 And what we're seeing here is that the modeling
2 tends to push you towards a fairly narrow set of
3 solution points. And so, that really makes us wonder,
4 well, if we have large amounts of solar with some
5 batteries to bolster that, what would operating that
6 grid in the future look like? What do we need for
7 reliability?

8 But we want to maybe step back a little bit and
9 maybe reconsider some of that premises, which is, well,
10 it probably -- we probably don't know exactly what we're
11 going to build out in the future because what we're
12 seeing today is just what that model framework has told
13 2030 will look like. But we could be building something
14 different. We could be doing something different. New
15 technologies could actually develop differently between
16 now and then.

17 So, our best guidance would be there probably
18 needs to be a serious consideration of strategically
19 maintaining the gas fleet whilst we try to figure out
20 what those other futures might look like.

21 In addition, not just maintaining the gas
22 electric generators, but also thinking more broadly
23 about the gas transportation infrastructure. Because
24 just as I showed on the previous graph, if you do have
25 to have, for example gas resources ramping very hard,

1 that means in a short amount of time they're going to be
2 drawing a lot of gas and a lot of pressure from the
3 system, even if overall across the entire year the uses
4 of natural gas has actually been reduced, as the state
5 policy is driving us towards. So, those are just things
6 that we wanted to think about.

7 The next few slides I'm putting in there as
8 informational. I think these are slides that we've seen
9 before. But this is the actual production data from the
10 CAISO about the week where we had low solar production
11 compared to a typical week where we did have robust
12 solar production, and then the metrics behind that.

13 But let me focus on these last two slides.
14 Which is, you know, where are we going and what's
15 critical for the next 25 years. And I think, really, we
16 need to step out of -- not that cost isn't important,
17 but I think we need to step out of just focusing on a
18 few simple metrics. Because it's really critical, as
19 mentioned from prior speakers that we look at diversity,
20 because that's probably our best bet in trying diversify
21 not only the resources we have, but where the
22 reliability comes from.

23 Right now, the simplified modeling that we have
24 tends to give you more simplified solutions. So, if the
25 model finds that solar is cost effective with a couple

1 of batteries, it will keep giving you that out of the
2 model, because it's optimizing. It's telling you
3 optimally this is what you should do. But policy wise,
4 is that the best decision to have not a diversified
5 portfolio?

6 Also, a lot of the easy decarbonization has
7 already occurred. And whether that's everyone switching
8 out to LED lights or perhaps meeting RPS up to a 50
9 percent level, I think we're in another step function
10 where things are going to get increasingly harder. And
11 so, we need to take very intentional steps to unlock
12 that
13 value.

14 And we're all for testing new technologies. But
15 rather than, you know, doubling down and getting 30,000
16 megawatts of that one new technology, maybe mindfully
17 say we're going to commit to X tranche, test that and
18 make sure it works right. And if it's good, let's do
19 more of that.

20 And lastly, I'll be remiss to not bring up
21 transmission planning. I heard that was the hot topic
22 whilst I snuck off to lunch, so my apologies.

23 But transmission planning, so what are the
24 needs, the opportunities? Really, the opportunities
25 that we've identified on the CAISO side is that there is

1 a big opportunity to potentially increase transfer
2 capability into constrained areas. And those
3 constrained areas are not just the local capacity areas,
4 but those could be areas where we have significant
5 disadvantaged communities and allow for thermal
6 retirement.

7 But in order for us to do that, we do need a
8 policy direction and sort of a mindful policy direction
9 that that is what we want to do. Because on its own,
10 increasing the transfer capability, again it may not be
11 economic. But if we have a policy decision around that
12 is what the state wants to do, we would have a public
13 policy driver.

14 In addition, there is also offshore wind,
15 there's out-of-state resources, so there are these
16 opportunities for transmission that we're happy to look
17 at. But ultimately, the need is from the policymaker
18 side.

19 And again, to note that it's quite challenging
20 with permitting and siting because construction and all
21 of those issues could take ten or more years.

22 So, that is my ultimate slide. Thank you.

23 MR. MCCLEAN: Excellent. Thank you, Delphine.

24 I think if there are questions or comments, if
25 there was -- from our group of panelists here, if there

1 was anything that Delphine touched on that you think
2 would generate some interesting discussion here, I think
3 I'd like to take the opportunity after each presenter to
4 have the collection of panelists engage on that topic.
5 So, pause for a moment and reflect.

6 Some of things I noted, themes I noted from
7 Delphine's presentation are resource adequacy, ramping,
8 flexibility and reliability in the resource base.
9 Diversity in resource fleet. Policies around
10 disadvantaged communities. Anybody like to comment on
11 any of those?

12 MR. SEVERSON: Hi. This is Dan Severson with
13 the Turlock Irrigation District. And I appreciate the
14 opportunity, Chris.

15 I think Delphine touches on a lot of things that
16 we will all touch on in that, you know, a one-size-fit-
17 all approach. Keeping in mind a host of solutions to
18 this overwhelming, but solvable problem is, I imagine,
19 where a lot of us are coming from on these.

20 MR. MCCLEAN: Great. Thanks, Dan. Any other
21 remarks from the panel?

22 MR. SHETLER: I'm almost willing to say ditto
23 and let's get on with it. But, no, Jim Shetler with the
24 Balancing Authority of Northern California.

25 I think you will hear themes here and we did not

1 compare notes before we got in here, but I think you'll
2 hear some general themes.

3 I agree wholeheartedly with a need for a diverse
4 resource mix. When SMUD launches its RPS, going on 20
5 years ago, one of the things we embedded in our RFPs was
6 making sure we had a diverse mix of potential resources
7 and didn't allow just a given resource, just solar, just
8 wind to dominate, but to make sure that we had a diverse
9 mix in there.

10 MR. MCCLEAN: Great points. Thanks Jim. Any
11 other remarks? And if not, I'd like to welcome our next
12 presenter, Jason Rondou from Los Angeles Department of
13 Water and Power.

14 MR. RONDOU: Jason Rondou, LADWP. And I'm going
15 to give a quick presentation on kind of the status
16 update on our power planning efforts and how that's
17 really been shaking up over the last couple of years.
18 And what that means for L.A., some of the unique aspects
19 of L.A.'s planning efforts and let's get right into it.

20 So, just to kind of set the stage here, we're a
21 vertically integrated Balancing Authority. We own or
22 control the vast majority of our generation. We've got
23 significant transmission resources that throughout this
24 transformation we intend to leverage to the degree that
25 we can. Maximizing the existing assets but also, you

1 know, getting back to Delphine's point about diversity,
2 not just in technology, but geographic diversity as
3 well. Especially when it comes to solar and storage.

4 Our peak load is about 6,500 and our retail
5 sales have been a little flat, so we're getting a little
6 bit more peaky and that's, you know, obviously
7 introducing flexibility challenges. And that's going to
8 be something that we'll see how that plays out with
9 electrification. We, as a city, we've got fairly
10 aggressive electric vehicle and building electrification
11 goals as well. So, how that unfolds is going to be big.

12 Just to kind of recap some of the things that
13 we've done recently, we've got over 1,000 megawatts each
14 of wind and solar. We're generally pretty well
15 recognized for our local solar efforts, in part because
16 we've got a lot of, you know, geographic land as the
17 City of L.A. But we also have a fairly robust portfolio
18 of local solar programs.

19 We just recently launched a 250 megawatt solar
20 and storage facility, with a small, 20 megawatt battery.
21 And we actually signed a new agreement with a very large
22 solar and storage project that -- kind of at a record
23 setting solar and storage price, and so that's something
24 that we're very excited about.

25 All that's really led to us being comfortably

1 ahead of GHG projections by getting 47 percent below
2 1990 levels. And last year, the kind of unofficial
3 numbers were at about 35 percent renewables. And we
4 expect that to -- we're hoping to secure about 55
5 percent of our renewable resources this year under
6 contract, to be built out over the next several years.

7 So, our efforts around 100 percent planning
8 started a couple of years ago with our City Council,
9 directing us to look into this in partnership with the
10 DOE. And so, that's been underway for a couple years,
11 now, and we expect to have that completed by the end of
12 this year.

13 But midway through that effort, and this is
14 something that if everybody could just try their best to
15 read every little word on there that would be --

16 (Laughter)

17 MR. RONDOU: This is just a four-year plan of
18 what that looked like and we're into the last year. So,
19 by the end of this year we expect to have results. We
20 have some preliminary results. We've looked at
21 different scenarios. Scenarios where we call it L.A.
22 Leads, where we over comply, where we are very
23 aggressive in securing renewable energy. We have
24 scenarios that comply with what we know about SB 100.
25 And we have different scenarios that take into account

1 high electrification and, you know, potential, you know,
2 higher temperatures as a result of climate change. So,
3 we're looking at various things like that.

4 And in the middle of this effort it was
5 announced last year that we would not be repowering
6 1,600 megawatts of in-basin, so in the City of Los
7 Angeles generation.

8 And so, we suspended our traditional planning
9 processes, where we update our plan every year, every
10 other year as a public outreach effort. And what we are
11 doing is putting together a ten-year plan to address the
12 lost capacity. And we're also completing our L.A. 100
13 Study. And those are going to be done at the end of
14 this year, and then we'll get back to a little bit more
15 of a traditional planning process.

16 I say that but, you know, there will likely be
17 new things that arise in the coming year, so I think
18 that we need to maintain flexibility. Not just in our
19 planning processes but, obviously, in the plans
20 themselves.

21 So, what does that look like for us? We've
22 adopted a number of guiding principles that we think are
23 consistent with the overall efforts in the City of L.A.
24 These touch on a lot of the things that I think
25 everybody here is going to be taking about.

1 Flexibility, obviously, reliability and equity. So,
2 equity's going to be very big for us as a municipally-
3 owned utility, and a very diverse one when it comes to
4 our customer base.

5 So, how are we going to do that? In the near
6 term this is our plan for transmission. So, we've got
7 ten transmission projects. This is really an
8 unprecedented level of investment. You'll see the dates
9 that we need to have these upgrades in. And this is not
10 really new right-of-way, not new corridors, but these
11 are very significant upgrades. These are very important
12 projects that will help us maintain transmission
13 reliability as we lose the in-basin capability, the gas-
14 fired generation capability.

15 And you'll see the dates of 24 and 29 that align
16 with the once-through cooling dates for our Scattergood
17 generating station and our Hayes generation station.

18 In addition to that, we are investing even more
19 money and effort into distributed resources. So, we
20 expanded a number of programs or we're in the process of
21 expanding them. And later this week we'll have a
22 workshop on our upcoming DER RFP. This will be the
23 first time that we've done something like that. And so,
24 we're kind of in the process of trying to figure out how
25 we can procure DERs faster than simply just doing, you

1 know, one RFP after another, after another. So, we're
2 trying to rethink that and trying to modify,
3 potentially, the way, you know, we simply approach it
4 just so we can get these resources in faster.

5 We're also making investments now in hydrogen.
6 So, at the Intermountain Power Project we have committed
7 to doing 30 percent hydrogen when those projects come
8 online in 2025. In addition to that, the compressed air
9 energy proposed project we have, we intend to have 100
10 percent hydrogen at some point in the future. And when
11 that point is in the future remains to be determined,
12 obviously, because we've not done that before.

13 But we say this because this, again, getting
14 back to leveraging the existing resources we have for
15 our clean energy future but, you know, making the
16 investments today in order to get there.

17 And so, this really doesn't get at one of the
18 chief challenges that we have, which is local long-
19 duration storage in the City of L.A. And so, the makeup
20 of the city is such that we import a vast majority of
21 our renewable generation, our base load generation, and
22 our pumped storage capability through the northern part
23 of our city. And you can't really see it here very
24 well, but we have three transmission corridors that
25 bring in power to the City of L.A. And as we lose

1 resources in the city, we become more and more reliant
2 on external generation. Which is great, we can get low
3 cost renewables. However, when we do modeling, you
4 know, we can show that we're reliable, we can show that
5 we're resource adequate, but it introduces a resiliency
6 challenges that -- getting back to the qualitative
7 versus quantitative approach this is something that's
8 very important. And it's going to be probably assessed
9 qualitatively, because I'm not aware of a way to address
10 that quantitatively.

11 So, the case study that we have here is the
12 Saddle Ridge fire last October. It happened the day
13 before October 11th, in the evening, and our peak load
14 was about half of what it typically is. And we lost
15 import capability on all three of the lines. Two were
16 completely down and one was significantly reduced.

17 And what this resulted in is us being about 135
18 megawatts away from curtailing customers. So, we had
19 about 135 megawatts of in-basin generation to work with.
20 And so, luckily, we did not. But that's happened
21 before. About ten years ago with the Sayre fire, we did
22 lose customers.

23 So, again, getting back to planning and looking
24 at securing resources, and maintaining transmission
25 reliability, this is an area that I think we need to

1 make sure that we don't lose sight of. And try to
2 figure out, if not quantitatively, how can we make sure
3 we very seriously address this and try to make that very
4 much a part of our planning process.

5 And we intend to do that with our future
6 strategic resource, long-term resource plans where, you
7 know, we have different scenarios that say X percent of
8 renewables by certain dates, reliability, we have cost.
9 And we don't have an assessment of what resiliency is.
10 And we intend to do that, again, as part of our planning
11 processes and we think that would be important here.

12 So, we've kind of summarized our takeaways and I
13 think a lot of these get back to the questions that
14 we've been asked. So, not just four-hour storage.
15 That's going to be very important, the long-duration
16 storage.

17 We're looking at interesting things like
18 liquefied air storage that might be able to provide 10,
19 12 hours of storage, as well as hydrogen. But again,
20 getting that long-duration storage in the City of L.A.
21 to be able to mitigate some of that geographical risk of
22 importing renewables.

23 So, I will leave it there.

24 MR. MCCLEAN: Excellent. Thank you, Jason.

25 That was a really full set of challenges that L.A. is

1 facing and it looks like given the work of L.A. 100,
2 other efforts that you've got, you're well underway.
3 But I think I'd like to hear whether or not any of the
4 other panelists found some commonalities or differences
5 in what they saw from Jason's presentation. Any extra
6 thoughts sparked there?

7 Hearing none, I think I'll perhaps query this.
8 The L.A. Leads-based work, did that get into much of a
9 transmission expansion consideration or did that
10 leverage sort of existing or planned projects?

11 MR. RONDOU: I think any scenario is going to
12 call for a significant amount of transmission, whether
13 that's for the next ten years or for 2045 time frame.

14 There are some -- I'll give you kind of a
15 ballpark dollar figure, and this is very preliminary.
16 This is something that is -- you know, these are
17 preliminary numbers, but it gives you kind of the range
18 of capital investment that we would have to make over
19 the next 20 or 30 years.

20 Just simply complying with what we know about SB
21 100 would call for an investment over 20 years of about
22 \$35 billion. And again, these are preliminary results.
23 We still have to work with NREL to complete this. Under
24 a scenario where we are very aggressive that doubles.

25 So, I think it gets back to how can we make the

1 most impact on GHGs and not chase some of the sort of
2 interim targets as well. So, and then that gets back to
3 -- that translates into rates and how are we going to
4 spread that rate recovery across customers that are very
5 different in the City of L.A. in terms of income, in
6 terms of, you know, climate, in terms of, you know, size
7 of housing, in terms of commerce, and all of that. So,
8 it is a very, very serious challenge, but an exciting
9 one.

10 MR. MCCLEAN: Great. Really appreciate that
11 insight, thank you. Yeah, go ahead, Delphine.

12 MS. HOU: I have a question for Jason. This is
13 Delphine from the CAISO.

14 So, I was curious, aside from the retirement of
15 Scattergood, Haynes, and then the transmission project
16 upgrade, what other -- and I apologize, I haven't read
17 through any of the plans. But what other considerations
18 did L.A. have for maybe disadvantaged communities or
19 environmental justice, in that vein?

20 MR. RONDOU: Yes. One really interesting
21 challenge that arose after we did some modeling where we
22 said, all right, if we decommission the 1,600 megawatts
23 of combined cycle, and some of it's fairly new, some of
24 it's 15 years old, it's relatively more efficient than
25 some of the other generators that we've got, what would

1 happen. And we modeled it. And it would require
2 relying on the next most efficient unit, which is at our
3 Valley generating station, which is adjacent to several
4 disadvantaged communities. There's a lot of
5 environmental justice issues in that area. And so, now,
6 we'd be asking that part of the city now to shoulder a
7 greater share of the burden.

8 And so, what we've done is we said, well, we
9 can't sort of accept that. So, we've added that as part
10 of our planning processes to try to figure out how we
11 can come up with scenarios that do not require us to
12 fall back on that. And that could mean looking at
13 alternative ways to maintain existing resources. Not
14 repowering, but potentially doing things like wet
15 cooling of 15-year-old, again, relatively new and
16 efficient units.

17 But we also have what we call our equity
18 metrics. And it's an initiative that we have that we
19 run through every investment that we make in our city,
20 whether it's a transmission -- sorry, distribution
21 upgrades, power system reliability, customer programs,
22 solar, energy efficiency, we look at it through the lens
23 of where is that money going in the city? And how is it
24 -- is it concentrated in areas of affluence? Is it not?
25 Things like solar and net metering you could expect

1 would happen more often than not in middle class and,
2 you know, more wealthy neighborhoods.

3 And so, we've made tweaks to our programs to
4 help try to promote them in areas that otherwise do not
5 get the same level of participation. So, it's not just
6 sort of a principle of ours, we've actually tried to
7 actualize that in our planning process. It's not
8 perfect and we have a lot of work to do, but it's
9 something that is absolutely on our radar.

10 And the last, I'll close this out by saying our
11 advisory group for our 100 percent study includes 40
12 advisory members that span all stakeholders in the city,
13 from universities, from the business community, from
14 environmental justice, and many others as well. So, we
15 never lose that perspective through all of our planning
16 processes.

17 MR. MCCLEAN: Great. A really valuable
18 discussion. Thank you all.

19 I think we'll move on to our next presenter, Mr.
20 Jim Shetler. Thank you.

21 MR. SHETLER: Thank you. And I'm pleased to be
22 here today. Thank you for having me.

23 Maybe a little quick overview of BANC. Similar
24 to the ISO, we are just a BA, we're not a load serving
25 entity. I have six members, SMUD, Modesto Irrigation

1 District, City of Roseville, City of Redding, City of
2 Shasta Lake and Trinity PUD. All of them are vertically
3 integrated, publicly-owned utilities, load-serving
4 entities, where they do their resource planning.

5 We also have within our footprint the WAPA
6 Sierra Nevada Region 230 KV transmission system. And
7 then, the transmission agency in Northern California's
8 -- the California Oregon Transmission Project, one of
9 the 500 KV interties to the Northwest.

10 We are about a 5,000 megawatt peak Balancing
11 Authority, which is about midsize for the western
12 interconnection.

13 So, I have a little introduction. Number one,
14 in talking to my members, clearly we are supportive of
15 the goals of SB 100. But I think in the near term, we
16 view that as a net zero carbon basis to get there. My
17 members are very strong in their belief that balancing
18 the carbon reduction, or the reduction has to be
19 balanced with the equally important goals of safety,
20 reliability and affordability.

21 And into that, previously we also believe that
22 there needs to be a very well thought out transition
23 plan. We need to understand where we're going, how
24 we're going to get there, and that the resources that we
25 are bringing online are proven before we take off

1 resources that we know can do the job.

2 And then, we're also, and I'll pick on SMUD on
3 this, over the next horizon here, the next 20, 25 years,
4 we feel when we talk about decarbonization we've got to
5 look at transportation and the building infrastructure
6 where the biggest bang for the buck is.

7 Certainly, electricity is still at 15 percent,
8 but we have to be careful how we move forward with that.

9 Referencing, now, some of the questions on
10 reliability and resource adequacy, polling my members,
11 right now if we look at the next 20 to 25 year horizon,
12 thermo and hydro capacity is on the table. I want to
13 make that clear that we are looking at continuing to use
14 thermo and hydro capacity to meet our needs.

15 Appreciate the fact that the join agencies have
16 included in their RPS Plus large hydro. We view that as
17 a very valuable resource and we want to make sure that
18 continues.

19 Now, when I say we're going to continue to have
20 capacity from natural gas generation, it is at a much
21 reduced capacity level. Currently, we're averaging
22 about a 70 percent capacity factor on our natural gas
23 generation. Our current forecasts are somewhere in the
24 20 percent range over the next to -- ramping down to
25 about a 20 percent capacity factor over the next 20

1 years.

2 Now, over that time period certainly we'll be
3 adding renewables and we'll be adding cost-effective
4 storage. And we'll also be evaluating other
5 technologies as they come online. And as they get
6 proven, we'll be looking how to include those in the
7 resource mix.

8 On flexibility and dispatchability, obviously we
9 need resources that can manage real-time fluctuations in
10 the intermittent resources. Similar to the ISO, though
11 right now we're not as big a duck as they are, we do
12 have morning and evening ramps we have to deal with.

13

14 And then, into that, or mentioned earlier there
15 needs to be available capacity and energy that can deal
16 with low solar and low wind production periods. And
17 based on my history in California, we're talking not
18 days, we're talking more like -- or talking more days
19 and weeks, not just hours. And so, we need to look at
20 how we do that.

21 And I appreciate the fact this was mentioned
22 earlier by staff, but we do believe that we need to look
23 at low hydro events when we're talking about studies.

24 On challenges, obviously coming up with the
25 resources that meets today's capabilities is what we're

1 looking at. How do we ensure that we have that we have
2 frequency, inertia and voltage support in the system if
3 we do away with thermal units, and then the long
4 duration capabilities.

5 Considering critical innovation. Again, I'm not
6 going to prolong it. I mean, long-duration resources
7 are key. We also feel that we need to be evaluating
8 alternative fuels, renewable gas. We, too, are
9 interested in hydrogen as a combustion resource.

10 And then, as we look at this, and this has been
11 hinted at in prior conversations, we have a pretty major
12 R&D investment in front of us, as an industry. And we
13 think this is probably a global issue that needs to be
14 dealt with. These are huge dollars that we need to
15 consider how to come up with and invest.

16 And then, relative to transmission planning, as
17 we retire the thermal units in their locations, and ramp
18 those down that will change transfer capability within
19 the western grid. We need to understand that. We still
20 have the same import capabilities we had prior, now, or
21 not. And I think it does argue for broader regional
22 planning. I know some may say, well, that means we need
23 to have an RTO tomorrow. I'm not suggesting that. But
24 I do think there can be more consolidation of planning
25 around the regional planning groups and coordination

1 among them.

2 And then, on modeling I want to focus on the
3 second bullet, which I know will be very popular in this
4 room. But we feel pretty strongly that if we're going
5 to look at all the scenarios and we're going to look at
6 all the possibilities of what the future may bring to
7 us, we need to at least understand if we have a high
8 electrification penetration, but we're still needing low
9 levels of combustion resources to maintain reliability
10 what does that look like? What is that carbon
11 footprint?

12 And so, we would argue for at least looking at
13 that with, say, a 20 percent capacity factor as a
14 reference point.

15 With that, I'm done. Any questions?

16 MR. MCCLEAN: Excellent. Thank you, Jim.
17 Anyone from the panel have points that they'd like to
18 dive a little bit deeper on with Jim?

19 MS. DEL BOSQUE GILBERT: So, Jim, I think we
20 echo a lot of the same responsibilities that -- this is
21 Marilyn Gilbert with the Imperial Irrigation District.

22 And especially when you mentioned about the
23 flexible dispatchable resource needs for the grid
24 reliability, and those are some of the things that our
25 operators are also experiencing. But I think everybody

1 in this room probably are echoing the same thing. But I
2 just want to say that you touched upon a lot of the
3 things that we would also be concerned as well.

4 MR. MCCLEAN: Great. Thank you, Marilyn. Any
5 other remarks from the panel? I'll throw one at you,
6 Jim.

7 Maybe for the benefit of the audience you might
8 be able to maybe offer up a thumbnail sketch of some of
9 the visions of the regional planning, how that might go.
10 So, RTO is one path. Could you maybe pull back the
11 curtain on what some of the alternate paths might look
12 like?

13 MR. SHETLER: I think there is probably several
14 alternatives. I mean one we're seeing in the northwest
15 right now, where you're seeing Columbia Grid and
16 Northern Tier combining into one regional planning
17 group. So, I think that's an example. Is there
18 potential for the remaining regional planning entities
19 in the west to consider consolidation?

20 Another one that I have a reference to and some
21 of you in the room may remember this, we used to have a
22 California Transmission Planning Group that was formed
23 by the IOUs, and the publicly-owned utilities in
24 California. And we retained our individual
25 responsibilities, but we opened up to each other. We

1 did joint planning together and looking at where those
2 projects might be. So, I think there's also an ability
3 to do more facilitated coordination among the regional
4 planning groups. That may be the first step.

5 MR. MCCLEAN: Okay. And then, so I agree that
6 that may have legs. To the extent somebody was going to
7 lead on that, do you think that ought to be something
8 that arises from a group of peers or should it be more
9 of a directive from, say, a policy or regulatory agency?

10 MR. SHETLER: Well, I think probably the one
11 problem you would have is the joint agencies don't have
12 a whole lot of authority over the rest of the west. So,
13 I'm not sure a directive would be the approach.

14 But I'll use the EIM reference. And if you look
15 at the Energy Imbalance Market, you have a very diverse,
16 broad group across the west, publicly-owned utilities,
17 investor-owned utilities, Northwest, Southwest,
18 California, and what's driving those entities together
19 is the understanding and the need for facilitation on
20 managing the intermittent resources and renewables
21 coming at us, and the carbon goal that many states are
22 putting in place.

23 So, I do think that driver coming from a peer
24 group is probably the best way to go.

25 MR. MCCLEAN: Appreciate the insight. Thank

1 you, Jim.

2 All right, I think we'd like to turn to our next
3 presenter, Ms. Marilyn Gilbert.

4 MS. DEL BOSQUE GILBERT: Thank you for inviting
5 the Imperial Irrigation District to be part of this
6 important panel. We truly appreciate the opportunity to
7 be here to speak before you.

8 My name is Marilyn Gilbert and I oversee the
9 Energy Department. And I'll be providing you today a
10 brief summary of IID's service territory area and what
11 IID has done today as a Balancing Authority, and
12 comments on the plans to accommodate those additional
13 renewal resources that we are seeing in our service
14 territory.

15 IID's electrical service territory area, this is
16 a brief overview of where we are. This slide represents
17 a brief summary and its demographics. IID is a
18 Balancing Authority that serves about 156 electric
19 customers in both Coachella Valley and Imperial County.

20 In 2001, IID adopted the open access
21 transmission tariff to facilitate the interconnection.
22 Currently, there are about 1,100 megawatts and
23 interconnected resources consisting of small hydro,
24 geothermal, biomass and solar.

25 IID's service territory has a vast renewable

1 resource availability, including geothermal. IID's
2 territory is also home to the Salton Sea known
3 geothermal service area, consisting of a potential
4 resource of over 2,000 megawatts that can help our other
5 utilities in the state meet their SB 100 goals. If the
6 state considers providing incentives to provide flexible
7 geothermal and reduce costs, IID can offer a great
8 opportunity to offer some of the core issues that are
9 being discussed today.

10 About our demographics, the majority of the
11 customers are residential, about 86 percent. We have
12 commercial 13 percent, and very few industrial, .5
13 percent.

14 There is a high employment rate in IID's service
15 territory and approximately 15 percent of IID customers
16 are receiving rate assistance.

17 Last year, IID commissioned a 30 megawatt,
18 utility scale community solar program known as the
19 Citizens E-Green solar to serve IID's low income
20 customers. IID continues to explore the possibilities
21 of another utility scale project designated to serve
22 low-income customers, such as a storage project. And we
23 serve a disadvantaged community and our comments reflect
24 that because of our customers. Because we don't want to
25 do anything as a Balancing Authority that is going to

1 affect our customers.

2 So, here in this resource mix where we're at, I
3 wanted to give you a little bit of where we've been and
4 where we're going. So, back in 2008 we were about heavy
5 on the resources that were not meeting RPS compliance.
6 So, IID has met and exceeded all of RPS in Cap-and-Trade
7 requirements and plans to be in compliance and committed
8 to implement the state goals.

9 In 2008, we were 73 percent of IID generation
10 was from non-RPS compliant resources. By 2030, we'll be
11 approximately at 60 percent.

12 As demonstration in the progression of the pace
13 over the past 10 years, IID has made drastic changes to
14 the resource mix. We had an early exit of the San Juan
15 Coal, which occurred on January 1st, 2018, and it used
16 to provide about 20 percent of IID's requirements. IID
17 lost about 25 years' worth of equity payments,
18 consisting of about \$10 million per year in order to
19 apply with emission rules. Ninety-nine percent of IID
20 renewables are located within IID service territory.

21 IID retired all burn units with high greenhouse
22 gas emissions. We invested in the Niland Peaker units
23 and a (indiscernible) three repowering to lower
24 emissions for the gas units. And we also made
25 significant transmission system investments primarily

1 used for renewable energy transmitted to other parts of
2 the state. IID has also incorporated additional
3 emission consideration for hourly dispatch formula.

4 As a Balancing Authority, we actually see
5 extreme weather conditions. As you can see from this
6 chart here, our summer peak load is -- it's about 1,067
7 megawatts and IID's winter load is 209 megawatts. Our
8 average winter load is at about 320 megawatts. So, a
9 lot of our generating resources are sitting idle a lot
10 of times of the state. So, we're looking into
11 opportunities to potentially over those resources to
12 other parts whenever they're sitting idle.

13 IID has recently hired Black & Veatch to model
14 existing generation and options for meeting SB 100
15 goals, and have previously commissioned other studies
16 that had looked at various alternatives to meet the SB
17 100 goals. We are committed to providing these.

18 Other challenges include high potential debt
19 required to meet the plan, high overall costs to meet SB
20 100. Uncertainty in rule definitions like zero net
21 carbon, and uncertainty in overall rules over the next
22 25 years. Mandates that are passed through to our
23 customers sometimes don't work well for us because our
24 IID board is very sensitive to the rate increases
25 because of the serving of the 156,000 customers we

1 serve.

2 These charts an average representation of the
3 IID load. The integration of renewables has impacted
4 the load profile and the shift and the changes are also
5 due to customers' activities, which are non-controlled
6 on an hourly basis. The actual daily profile is very
7 volatile and we continue to grow in volatility in higher
8 intermittent resources and resource supplies, and the
9 uncertainty of customer programs impacts.

10 IID has mitigated these challenges by becoming
11 more nimble in operations and we'll continue to look for
12 greater flexibility resources for the next 25 years. We
13 try to optimize the delivery of our resources from the
14 IID system. Many of the decisions made today can turn
15 very costly with us if we don't thoroughly think things
16 out. And I think some of my other counterparts have
17 already mentioned that. That we are very -- we're
18 trying to do the best that we can with the resources
19 today.

20 We have seen a resource shift and IID has
21 experienced a resource shift, and with that shift there
22 has been a transition from thermal to variable and
23 energy-limiting resources. This shift in resources that
24 do not contain fuel sources that can be controlled is
25 adding another peak load to our service pockets and can

1 increase or decrease at any given moment. This shift to
2 these resources without (indiscernible) increases
3 reliability to the risk, and this type of supply
4 resource planning is difficult and costly to manage as a
5 Balancing Authority. And since it's adding to an
6 already uncontrollable activities that are occurring on
7 the demand side. A greater percentage of error between
8 the long-time, daily, hourly, are occurring.

9 The currently lack of cost-effective technology
10 solutions to replace the gas-fired generation is a
11 challenge. And IID's evaluating areas where technology
12 is improving and costs have decreased. IID is risk
13 adverse to new and unproven technologies and we are
14 currently evaluating the EIM (indiscernible).

15 The resource shift that has identified the need
16 for flexible and dispatchable resources needed for grid
17 reliability.

18 IID is not alone in managing real-time
19 fluctuations with the intermittent renewable resources
20 and this challenge is specifically seen in morning ramp,
21 as some of my other counterparties have also mentioned.

22 This is a slide from our 2018 IID study, which
23 shows the difference between the capital investments.
24 When IID's load is more volatile on the supply and
25 demand side of the meter, IID requires greater

1 investments in generation, and transmission, and
2 distribution.

3 Currently, Black & Veatch has been hired to
4 evaluate IID's fleet and other energy resources and plan
5 to make recommendations for the IID transition plan for
6 the next 20 years. Their study will be inclusive of
7 alternative fuels integration as part of the generation
8 needs. And the results will not be available until the
9 late summer.

10 The first of the report has analyzed the
11 historical forecasted performance on O&M cost, CAPEX,
12 and they have already made suggested adjustments to the
13 dispatch parameters where they deemed necessary.

14 Some of the SB 100 cost challenges. One of the
15 biggest concerns for IID is the retirement of generation
16 that's before the end of their useful life. IID has
17 existing debt services obligation. IID is in the
18 process of quantifying its remaining fleet replacements
19 costs, and preliminary results indicate that the
20 replacement of the existing units with more reactive and
21 flexible resource will result in added costs.

22 All of these costs will be pushed back to the
23 156,000 customers, causing rate increases, and IID's
24 low-income customers will suffer the greatest of
25 negative impact. The retirement of these units will

1 drive the increase for balancing and ancillary services
2 as well.

3 IID can help reduce these to other California
4 utilities by using IID's willing and resource
5 availability. And we continue to support for geothermal
6 and grant program will benefit the state as a whole and
7 possibly expand to the added subsidies on flexibility
8 for geothermal and geothermal demonstration projects.

9 Additional long-term challenges that we are
10 seeing is the cost burden of new resources, in
11 transition investments required to build the new
12 resources, and transmission is a factor.

13 The additional rate increases on IID customers
14 because of where we're located and also our
15 demographics.

16 Uncertainties in resources procurement and
17 capital investments due to the potential loss of load in
18 the Coachella Valley portion of the IID system at the
19 end of its contractual term is also of great concern for
20 us. The contract ends in 2033 and accounts for
21 approximately 60 percent of the load.

22 Challenges with the demand side uncertainty and
23 constantly changing landscape is also something for us
24 to -- that we are concerned about.

25 IID's service with flexible geothermal could

1 also offer solution if technology improvements and cost
2 risk are reduced.

3 The timely supply of resources properly can be
4 difficult due to so much uncertainty in load growth,
5 customer program participation, and effectiveness,
6 intermittent uncertainty, and political policy shifts
7 and weather-based impacts.

8 As far as energy storage and IID's future plans,
9 IID invested in a 20-megawatt hour, 30-megawatt battery
10 in October 2016, and the largest of the battery storage
11 systems at that time. The battery energy storage system
12 provides great ancillary service, such as frequency
13 relation, backup electricity, peak saving and load
14 shifting. However, right now there's only -- we
15 primarily use it for balancing our service system.

16 Since many of these uses of storage are multiply
17 inclusive of one of those uses, a moment's use of one
18 may create another situation where the storage isn't yet
19 ready to use for another subsequent event. IID storage
20 appears to be helpful, except when adding a Dutch
21 installed technology, or adding storage too soon prior
22 to the intended use in a timely manner.

23 Careful planning of the storage limitation must
24 occur. IID views storage as a possible solution to
25 solve imbalancing issues with intermittent resources

1 within its IID Balancing Authority. As part of our
2 studies, IID has had -- if IID had greater capacity for
3 storage, the storage system could absorb the excess
4 generation in the morning as the solar plants come
5 online, and then disperse it as they go offline.

6 Our ratio of solar to capacity is
7 disproportionate at this time.

8 Future IID interconnections, to give you an idea
9 of where we are and the amount of interconnection we're
10 seeing of our service territory, interconnection
11 requests processes into IID open access (indiscernible)
12 are approximately 2,325 megawatts. Those consist of 250
13 solar, 550 geothermal, 1,525 of combined solar and
14 storage. And the majority of the queued projects are
15 intended to export from the IID systems, which will have
16 significant transmission planning for that area.

17 Because of that, then our transmission planning
18 challenges we are facing with an aging infrastructure.
19 The IID's battery sources experiences about a 10-
20 megawatt hour cooling losses for its 20-megawatt system.
21 High ambient temperatures affect efficiency of all of
22 our resources, started at temperatures above 110. We
23 experience sometimes temperatures up to 120 in most of
24 the summer, so at that time we're already seeing
25 inefficiency, so we need to plan for those resources.

1 What future technologies can avoid these issues?
2 IID is researching the various technologies to make sure
3 the specifications do meet operational expectations.
4 IID can protect within the cost (indiscernible) to
5 ensure contractual requirements are properly defined.
6 However, we need to make sure that technology performs
7 as intended to avoid reliability issues.

8 Planning in contingencies are crucial to
9 integrate and maintain the system of reliability. We
10 may consider in the future considering programs to
11 ensure that the batteries do perform how they're
12 intending to perform. And if not, we're going to end up
13 adding double of the amount that we need because of the
14 inefficiencies our system is experiencing.

15 As earlier mentioned, there is a potential for
16 large-scale structure additions within the IID due to
17 the renewable potential footprint within our service
18 area. Geothermal, solar and storage.

19 From an operational perspective, as each project
20 achieves commercial operation into the IID system
21 there's a lot more manual interaction with the balancing
22 and load in the generation due to the integration of
23 intermittent resources. Operators have to closely
24 monitor the system balance of solar resource to ramp up
25 and monitor down.

1 Investments are required to automate the system,
2 this more manual process, and we're looking into doing
3 all of that.

4 Additional transition challenges. Installed
5 energy storage is key to minimize the impacts for our
6 customers. Energy storage is planned to be used to
7 defer any reliability upgrades. Our challenge is when
8 to trigger those installations to minimize the impact
9 and get the best dollar for what is affordable to the
10 IID.

11 Additional transition planning challenges
12 consist of maintaining the system reliability when
13 impacted by demand side, demand composition. The desert
14 southwest has a high penetration of single-phase motors,
15 which represents the air conditioners and at that time
16 that's causing issues.

17 The WECC Phase 2 has composite load showed us
18 that there might be some reliability issues, too,
19 because of that.

20 We have also looked into low load, high
21 renewable export scenarios, geothermal, solar
22 production, exports increasing from the area. The
23 system has assessed multiple different areas in there
24 and we are looking into adding approximately in the area
25 about anywhere between 1,500 to 2,500 of integrated

1 renewable energy.

2 With that, just in the transition of load could
3 be 300 million to 500 million of infrastructure, plus
4 adding remediation action schemes.

5 Based on the existing forecast, there is an
6 increased activity for geothermal resources in IID's
7 service area.

8 In conclusion, IID's requesting to add an
9 additional planning modeling scenario for geothermal
10 resources, including the sensitivity scenario for
11 resources within IID's service territory to be exported
12 to the rest of the state out of its Balancing Authority.

13 Thank you very much and this concludes.

14 MR. MCCLEAN: Very good, Marilyn. Thank you for
15 that presentation and, again, I think we here at the
16 Energy Commission, staff would extend our thanks for
17 IID's engagement in the IRP process. I think we're
18 pleased with the way things are going. And again, thank
19 you for being here.

20 Any questions for Marilyn from our panelists?
21 Hearing none, I'll turn it over to Mr. Dan Severson to
22 close us out here.

23 MR. SEVERSON: Kudos, Marilyn that was
24 impressive. I'm going to try and be brief here. I now
25 it's we're pressed for time, and so I'm going to quickly

1 run through my slides here.

2 My name is Dan Severson. I'm the Assistant
3 General Manager of Power Supply. And why they sent the
4 markets guy to speak on behalf of the VA, I don't know,
5 but they get what they deserve.

6 So, about TID. First irrigation district in
7 California by one week, where we're one week older than
8 Modesto, and we proudly shout that from the rooftops.
9 It's the bane of their existence, but it's very much a
10 source of pride for us.

11 We are -- similar to other panelists, we are
12 locally owned, like L.A. and IID. We do serve load. We
13 are a small Balancing Authority, so we have a lot of the
14 same challenges that they do. We are -- we were founded
15 in irrigation water. You can see there we were founded
16 in 1887. We provide irrigation water to over 4,500
17 growers and almost 150,00 acres. And so, our
18 stewardship along the Tuolumne River kind of drives who
19 we are.

20 We decided to build some generation along the
21 river. In 1923 we put a power plant at La Grange. And
22 that started our journey into the electric retail
23 business. And today, we're just over 100,000 retail
24 electric accounts.

25 So, like I mentioned, we are an independent

1 Balancing Authority area as of 2005. That was mainly
2 driven, full disclosure, by the energy crisis. We were
3 subject to rolling blackouts. Our ratepayers took it
4 upon themselves to insulate themselves from that. We
5 invested the money in the infrastructure to become a
6 Balancing Authority to mitigate those issues. Now, has
7 it been perfect? No. Have we learned a lot?
8 Absolutely. And so, in that vein we realized pretty
9 early on we needed to build a diverse portfolio to
10 spread not only the costs around, but the risks around
11 serving load.

12 It was pretty well recognized early on that the
13 way people were using energy was changing. And so,
14 there's a list of our resources there. And similar to
15 L.A., you'll see a majority of it, and in fact if not
16 all of our -- just about all of our RPS portfolio is
17 external to our BA. And that's both good and bad.

18 So, you touched on the disadvantaged community
19 aspects of local benefits, and the local air quality,
20 but there's a cost benefit. And so, to date we've taken
21 an approach from our RPS procurements that we were going
22 to find out the absolute cheapest way to comply as
23 possible.

24 Our most recent acquisition was the 54 megawatts
25 of solar there. That's down in Kern County.

1 And really, our area is -- it's okay for solar.
2 It's not good for wind. The radiation is just better
3 down in the desert. And there's a huge price break,
4 especially when you get to the utility scale in the
5 further south you go.

6 So, peak load of about 600 megawatts. Thirty
7 percent RPS eligible, that is not our RPS percentage as
8 to serve load. But I don't want to confuse anybody,
9 that is just our -- that's a calculation on installed
10 capacity and over 50 percent carbon free, again by
11 installed capacity.

12 We do share a tie with the Cal ISO and with
13 BANC. And we are joining EIM. We've decided to move
14 forward with that. We'll be going live next April.

15 So, this slide, the takeaway here, customer
16 owned solar. All of these slides have been taken
17 directly from our IRP, by the way, to they're readily
18 available on our website or the CEC website.

19 This is a projection. The bottom line you see
20 there is capacity and the yellow line is the expected
21 generation, of the customer-owned generation forecast.

22 And one thing I think I failed to mention about
23 our nature as a BA is we have one -- we don't have an --
24 we have one large full requirements customer to the
25 south of us. And we don't have any third-party

1 generation. There's nobody knocking down our door to
2 buy our transmission, yet. It's a hurdle we haven't had
3 to cross, yet. Now, joining EIM we're kind of
4 reevaluating that.

5 So, to the extent that you look at this slide,
6 roughly 40 megawatts installed as of 2018. About double
7 that projected for 2013 [sic]. And the generation is
8 144,000 megawatt hours. That's less than one percent of
9 our annual energy needs and less than 7 percent of the
10 installed capacity on our system.

11 But I guess what I'd like to highlight is this
12 is what it does. And so, this is our take at our load
13 shape and how it's changing. To your left is, I believe
14 an April day. I didn't bring my glasses. And to the
15 right is a July day. You'll see in 2016, on the left,
16 in April the significant -- and even though it's just
17 one percent of our energy needs, it's when that energy
18 comes that's the significant driver of these ramps that
19 we're seeing.

20 So, the ramping is the takeaway on the left
21 side. The right side, there's a pretty discernible
22 shift in peak from earlier to later. All driven by
23 multi-solar.

24 You know what, I need to -- so, I'm going flip
25 around. I put these out of order. So, some of the

1 ramping challenges that that drives. This is our
2 average three-year load decreased by month of 2017
3 versus 2030. The 2017 is the solid orange bars. 2030
4 is the shaded area there. And you can see the
5 incremental challenges of our ramping. And that it is
6 really representative of the slide before. And then,
7 these are the challenges up.

8 It's more tailored to the peak months, whereas
9 the ramps down are more tailored to your shoulder months
10 and the light load areas.

11 So, our current renewable portfolio is depicted
12 there. The takeaway here, the gray bars that we're
13 filling in, in the early 2020s is based on our early
14 action by buying the wind farm in the northwest,
15 Tuolumne Wind Farm that it has grandfathered status.
16 And that's why I think most of you at the Commission
17 have seen us up here pounding the table for fair
18 regulatory treatment because we were early actors, and
19 it was a significant part of our ratepayers' investment,
20 RPS wise.

21 The Tuolumne Wind Farm, just for perspective,
22 comprises around 80 percent of our renewable portfolio.

23 Moving forward, this is our plan. To comply
24 with SB 100, we're going to have to add the equivalent
25 of 100 megawatts of solar in 2025 and 2029. Now, the

1 600-megawatt BA, there's some challenges with that.
2 We're either going to have to source it outside of the
3 BA, or to be able to source it inside we're going to
4 have to put some prohibitive requirements on them, as
5 far as the developer to come to the table with ramping
6 and storage capability. All of which we're looking at.
7 We're very much focused on having a discernible NBA
8 option to the extent we can.

9 And it's not say that, you know, RPS is not the
10 only answer. We're not going to hit our goals RPS
11 alone. I think it's fairly well known statewide that
12 utilities have done their share, and beyond in emissions
13 reductions and we're happy to continue that trend.

14 And like someone alluded to earlier, a lot of
15 the heavy lifting has been done. And so, it's those
16 last increments that are the challenge.

17 I took a stab at answering these questions, I
18 think. So, the first one, how are you planning for
19 reliability and resource adequacy?

20 So, with every increment of solar and wind that
21 comes on the system the capacity value go down. And
22 it's counter intuitive -- and I think it's a little bit
23 of an unintended consequences from the policy and a
24 little bit of the unmitigated proliferation of solar and
25 wind on the system.

1 And I have an example here. That 54 megawatts
2 of solar that we added to our portfolio, in the NQC, the
3 net qualifying capacity, which goes against our RA
4 requirements, was cut by roughly 40 percent from one
5 year to the next, as solar came in.

6 And so, while it's a small part of our
7 portfolio, it's a large cut for a system that small.
8 And it doesn't mean that we're short capacity, it just
9 means that we are having to procure RA that we didn't
10 necessarily plan on.

11 As far as flexible dispatchable resources, we do
12 have 200 megawatts of large hydro. It's fast ramping.
13 It's carbon free. It's very much the heartbeat of our
14 BA. And to the extent that the market can recognize the
15 ramping capability, the zero carbon attribution, and
16 unlock the flexibility that we have -- granted, it is
17 somewhat river dependent, but we're looking at some
18 pretty significant investments in not only upgrading
19 those facilities, but upgrading the ability to move.
20 And I think it can be a very much vital part of hitting
21 our greenhouse gas goals.

22 And we are looking at storage. Storage is, as
23 everyone alluded to here, it is coming down quite a bit.
24 It's really on the cusp of making sense financially to
25 do something that we otherwise would do. And so, we do

1 plan on adding a storage pilot here in the near future,
2 per our strategic plan.

3 Twenty-five year view. Available balancing
4 capacity. This is something that we see as a real
5 problem. As more variable generation comes on the
6 system, less base load is around, and balancing capacity
7 there's shortages. I think there's multiple reports
8 here, recently, that have pointed to that.

9 One example of that is we do -- our wind farm is
10 in the BPA Balancing Authority. There's been a -- quite
11 an effort of wind farm owners up there to move their
12 wind resources out of BPA because their balancing
13 resources are run on the river they're highly seasonal.
14 There are times where we're put on the back burner and
15 we're curtailed. And so, we recently put in motion a
16 project to move that -- move our wind farm dynamically
17 into a more wind friendly BA that is committed to making
18 wind work.

19 Technological storage, cost and performance. I
20 think there were some skittish people in the industry
21 after the fire. To the extent that they can mitigate
22 that and that lithium-ion can improve their -- or
23 overcome those PR issues would give us a little more
24 confidence.

25 Smart grid technologies to leverage demand

1 response and aggregating load to better match generation
2 would be very helpful.

3 And then, on the transmission front, we do have
4 quite a few transmission assets that are somewhat
5 constrained in that there's differences in -- there's
6 the operational themed issues, where one set of
7 transmission, and I'll just be -- as an example here, we
8 have transmission rights from John Day to Captain Jack
9 that tie into our tank transmission. And those two
10 scheduling paradigms don't necessarily coalesce. And it
11 makes for some stranded transmission. Some of which,
12 and a lot of which we think will be mitigated and
13 improved by EIM.

14 So, that's all I had. I tried to be short.
15 And I'm happy to take any questions.

16 MR. MCCLEAN: Great. Thank you so much, Dan. I
17 think as we, you know, get started on this process and
18 we have years ahead, I think working together and
19 leaning on your history with the water/energy nexus, and
20 others similarly situated, I believe there will be
21 tremendous value in that moving forward.

22 Any follow on from the panel for Dan? Seeing
23 none, I'd like to pose to the dais any exchange or
24 you're interested with the panel here?

25 MS. HOU: I had a quick question. One of the

1 RPS Plus resources that we are talking about in this
2 report is gas-fired generation with carbon capture. Are
3 any of those of you who are load-serving entities, have
4 you looked into that at all? Okay.

5 MR. MCCLEAN: Okay. So, I think there will be
6 an opportunity for public engagement, I think later in
7 the afternoon. But while we've got the panel here, we
8 did have a few questions come in over the WebEx. And
9 I'd like to maybe address those before this panel
10 breaks.

11 One from Habib Maiga: "Can Delphine expand on
12 what is needed by the policymakers, which is not already
13 available in the IRP results?"

14 MS. HOU: Sure. I can provide a little bit more
15 detail. Sorry, let me get back to a couple points. So,
16 let me start where I think we can -- the last slide that
17 I have about transmission opportunities, for example.

18 So, first of all, the very first opportunity
19 that I described was looking at local capacity areas.
20 So, that's something that the CAISO transmission
21 planning process has already taken a stab at. And what
22 we've done there is there are certain local capacity
23 areas that we have to protect for. And I think it's
24 very similar to maybe what Jason was saying about L.A.
25 is that, you know, you're trying to reduce some of the

1 capacity you have in your footprint, and those are older
2 -- maybe, potentially older resources.

3 So, then what happens is you're dependent on a
4 lot of imports coming in. But you might run into a
5 scenario, like with the Saddle Ridge fire, where you
6 aren't able to import as much as you would like. And
7 so, that leaves you in a vulnerable spot with your local
8 capacity area, you're constrained.

9 And so, there's various pockets of this within
10 the CAISO footprint where we have local capacity areas
11 that are constrained and how much transfer capability
12 you can get into those areas.

13 So, then what happens is we say, well, since you
14 can't get enough energy into those areas, then we have
15 to retain the capacity within those areas so that we can
16 serve the load. But some of the capacity in that area
17 are potentially order resources. They could be in
18 disadvantaged communities. There could be other, you
19 know, emissions or environmental justice concerns. But
20 then, you end up in this stalemate where you can't let
21 go of the resources because of liability, but the
22 community there obviously does not want the resources
23 there.

24 And so, the consideration would be at minimum
25 let's have a conversation about what a future would look

1 to enable some of those maybe older, you know, heavy
2 emitting resources to retire. But it's not just about
3 going and shutting those power plants off. It's about
4 what does the transition look like? What resources take
5 the place of those existing, let's say, high polluters?
6 What are the reliability services that you might need?
7 It's not just the energy. It could be, you know, as
8 other folks have mentioned you might need frequency
9 response or inertia within those localized -- or voltage
10 support within those localized areas. Or, it might even
11 be, you know, opportunity for a transmission solution.

12 So, all of those are on the table, but I think
13 we need to start having that conversation. And I think
14 the reason why the CAISO brings that up is because both
15 the IRP and SB 100 are focused at the system level. So,
16 they're -- at this early stage we haven't really delved
17 very deeply into localized areas. And so, that's where
18 the CAISO has, at minimum, taken a stab at doing some
19 analysis in our transmission plan. And we're hoping
20 that with both SB 100 and IRP is that we start kind of
21 moving closer towards each other to bridge that gap, and
22 trying to come to an understanding with that solution.

23 So, I would say that was kind of the first, I
24 think opportunity that we have to work together.

25 And for the other resources, offshore wind, out-

1 of-state resources, you know, some of that is picked up
2 in the IRP. But I'll note that the IRP itself is
3 remaining open to those options. And so, we'd like to
4 have a conversation around those as well.

5 MR. MCCLEAN: Great, thanks for that color,
6 Delphine.

7 There was one more set of questions from the
8 line. These were posed by Edward Smeloff. I'll just
9 open it up to the group and then there's a few
10 specifics.

11 So, this would be to the panel in general. Will
12 the SB 100 report have a specific section to address
13 issues and potential solutions for disadvantaged
14 communities?

15 And so, I think as we intend to seek
16 consultation from the Balancing Authorities, any
17 comments you care to add on that, whether you expect or
18 require seeing something like that in the final report.
19 Interested in your consultation at this time.

20 MS. DEL BOSQUE GILBERT: I'll go ahead and
21 respond a little bit to that. I think part of it is we
22 do represent a large of the disadvantaged communities,
23 and we would like to see at least there was something
24 being addressed, and maybe consideration for some of the
25 different resources to also be applied as part of the

1 solution here.

2 Either it could be that there was additional
3 ramping opportunities for utility-scale solar
4 specifically for them, or batteries, or other types of
5 solutions for disadvantaged communities. Because
6 anything that we do as a Balancing Authority does affect
7 our customers. And in order to pay that, there has to
8 be a rate structure. And we do not want to have them
9 increase on any of those costs.

10 So, to answer the question, I would like to see
11 consideration and we would work with our staff to be
12 able to provide some of that information there.

13 MR. MCCLEAN: Excellent. Thank you, Marilyn.

14 The next question would also go to the group.
15 The questioner is interested in the panelists' thoughts
16 on what level of transmission planning should appear in
17 the SB 100 report. So, any panelist care to comment on
18 SB 100 reporting as a venue for transmission planning?

19 MR. MCCLEAN: All right, that's fine.

20 MS. DEL BOSQUE GILBERT: I can comment a little
21 bit more. I did request for an additions transmissions
22 planning scenario for the, you know, high geothermal
23 area. So, we are requesting a scenario for that, as
24 well, you know, to do for the transmission planning to
25 be able to get at some of those resources out of there.

1 MR. MCCLEAN: Noted. I apologize, Marilyn, for
2 forgetting that from your slide, but I do recall that.
3 Thank you.

4 Okay, one more for LADWP. How does possible
5 conversion of the Navajo Generation Station play in
6 California's and Department of Water and Power's plans?

7 MR. RONDOU: We do still have transmission
8 capacity coming from Navajo. And, you know, we
9 mentioned earlier that to the degree that we can do it,
10 we'd love to use the existing transmission resources,
11 the existing infrastructure that we have.

12 You know, that said, we need to also get
13 something that's cost competitive, too. So, you know,
14 we have seen some proposals in that area and some
15 proposals that look, you know, very interesting. But
16 it's going to come down to how do we balance best costs
17 -- or, you know, least costs and best fit? And that's
18 definitely a candidate for a best fit because there's
19 transmission capacity for us.

20 So, it's something that we're open to. It would
21 be great, I think to partner in that area given the
22 impact that that area's had as part of the
23 decommissioning. So, if there is an opportunity to do
24 that that would be fantastic. But again, it also comes
25 down to, you know, the cost as well.

1 MR. MCCLEAN: Great. Thanks Jason.

2 This final one is for BANC. Looking for a bit
3 more color on a definition for net zero and perhaps
4 contrasting that with the concept of net neutral. Are
5 those the same thing?

6 Anything you'd like to clarify?

7 MR. SHETLER: I think from our perspective it's
8 looking at the total GHG emissions and where we're
9 spending our money on reduction. And if we spend
10 dollars more efficiently in reducing, say,
11 transportation or building impacts, but that does mean
12 we have to use a little bit of combustion generation to
13 get there overall are we still better off on a
14 greenhouse gas perspective?

15 MR. MCCLEAN: Right, I appreciate that
16 clarification. Thanks Jim.

17 So, let's see, Terra, if -- I'll let you guide
18 us from here. It looks like we're about a dozen minutes
19 ahead of schedule.

20 MS. WEEKS: Great. Well, first I would just
21 like to thank Chris and all of our panelists. We really
22 appreciate the close consultation with the Balancing
23 Authorities as we progress in the report development.
24 So, thank you again, all, for making the time to be here
25 and we really appreciate your input.

1 So, we're going to take a five-minute break and
2 then we'll reconvene with our third session of the day
3 on additional perspectives around SB 100. And then,
4 following that we'll have our public comment period as
5 well. So, if you have other questions or comments that
6 we weren't able to address at the wrap up of this
7 session or this morning's sessions, there will be
8 another opportunity to make those remarks.

9 So, we'll reconvene here in five minutes.
10 Thanks.

11 (Off the record at 2:43 p.m.)

12 (On the record at 2:48 p.m.)

13 MS. WEEKS: Okay, I think we are ready to
14 reconvene here. So, we are starting our third session
15 of the day which is on Additional Perspectives Around SB
16 100.

17 So, we're really excited to have this
18 discussion, kind of looking at SB 100 through a number
19 of different lenses.

20 So, to lead us in this session, I'm going to
21 hand things over to Siva Gunda, who leads our Energy
22 Assessments Division here at the Energy Commission.

23 MR. GUNDA: Thank you, Terra. Good afternoon
24 Commissioner Randolph and Commissioner McAllister.
25 Thank you for holding the dais for us. I would also

1 like to thank everybody in attendance here for your time
2 and participation today.

3 A special thanks to the panelists for extending
4 your top leadership and expertise in the areas that
5 we're going to discuss a little bit more.

6 This morning, Mark Kootstra from the CEC kind of
7 provided a high level overview of the analytical
8 capabilities that we currently have for the first
9 report. And he also identified some critical gaps
10 specifically around equity, environmental issues, jobs,
11 land use, and such.

12 So, what this panel, we're hoping to tackle is,
13 with the top leadership we have here provide some high
14 level perspectives on where we are going with this
15 particular report, but also where we could go in the
16 future years. And translate some of the qualitative
17 assessments we are hoping to do this years into more
18 quantitative metricized values that we could be using in
19 the policymaking.

20 If I spend a lot of time here talking about all
21 the good things you all do, it will take the whole hour.
22 So, I'm going to try and limit my remarks and
23 introductions to a very high level.

24 I do have some prepared questions for the panel
25 if we have time at the end, but if not I'm going to just

1 hand it over to the dais.

2 With that, I'll call on each one of you
3 individually and then, after your presentation I'll
4 introduce the next person.

5 Without much ado here, I'd like to start off
6 with Erica Brand. Erica serves as Director of the
7 California Energy Strategy at the Nature Conservancy,
8 where she works on state and regional policies related
9 to clean (indiscernible). In her role, she leads a team
10 that focuses on decarbonizing the electric grid,
11 providing science and policy analysis to the state and
12 federal regulatory agencies that develop and implement
13 clean electric policies.

14 And Erica will be primarily commenting on the
15 land use, but also might go into other issues as she
16 sees fit. Thank you.

17 MS. BRAND: Great. Well, thank you for having
18 me here today. Thank you, Commissioners.

19 I'm going to spend a few minutes presenting
20 mainly on some research that the Nature Conservancy has
21 done around the potential land use requirements of
22 achieving SB 100, but going beyond that and helping the
23 state deeply reduce greenhouse gas emissions through
24 clean power and electrification.

25 So, why land use? Which is what I'm here to

1 talk about today. Decarbonizing California through
2 clean power and electrification will require significant
3 land area for new electricity infrastructure. So, we
4 need to think about how we're going to site and build
5 all of the generation and infrastructure needed to help
6 us meet these critical greenhouse gas emission reduction
7 goals.

8 The path to decarbonization will require
9 resources of all size. So, energy efficiency, demand
10 response, distributed energy resources, but based on
11 research I'll share today it will also require a
12 significant amount of zero carbon resources generation
13 and the electricity infrastructure needed to deliver
14 that power to where it's used.

15 The path that California takes to the resource
16 build out to achieve these goals will have different
17 impacts and tradeoffs to natural and agricultural land,
18 human communities, natural communities, but the pathways
19 can also have different impacts on the pace and scale of
20 the deployment needed to achieve our greenhouse gas
21 emission reduction goals.

22 We have done research into siting.
23 Specifically, we recently looked at a case study of
24 large solar projects across California. And found that
25 projects, large solar projects that were sited in areas

1 of lower conservation value were actually permitted two
2 and a half times after.

3 So, the good news is that California knows how
4 to make land use and energy work together. There's a
5 number of tactics that are underway, both landscape
6 scale planning and seascape planning that the California
7 Energy Commission has been leading on. But also, long-
8 term energy and transmission planning, which will be the
9 focus of the research I'll share today.

10 And really, I think what's most important is
11 that the landmark SB 100 gives California a leadership
12 opportunity to move from target to action in creating a
13 thoughtful implementation plan.

14 So, integrated environmental and land use data
15 as a first step in long-term energy models yields
16 multiple benefits. And so, what we mean by this is
17 taking specific information, spatial information from
18 the ground related to natural resource values, areas of
19 opportunity, areas of constraint, and actually using
20 that information in behalf of the expansion models, like
21 RESOLVE, as inputs to inform how energy resource
22 portfolios are created is an important step.

23 The reason for that is because it makes
24 opportunity areas, areas of constraints visible much
25 earlier in resource and transmission planning, improving

1 the projections and the policy decisions that flow for
2 them.

3 So, in modeling terms, we're talking about
4 creating environmentally informed supply curves. And
5 I'm going to share how we did this recently in a study
6 with E3, an energy reflection called Power of Place. We
7 had a couple of central research questions.

8 One of them is highlighted here. Can the high
9 renewable builds needed to achieve deep decarbonization
10 in 2050 be done while limiting impacts to natural and
11 agricultural lands across the west?

12 This research built on a study that E3 had done
13 through the California Energy Commission EPIC, a project
14 called Deep Decarbonization in a High Renewable Future,
15 which considered multiple scenarios for achieving
16 statewide emission targets.

17 We selected the high electrification scenario.
18 So, all scenarios incorporated high levels of vehicle
19 and building electrification. And all of the scenarios
20 in our study met SB 100 targets as having a hundred
21 percent of retail sales met with zero carbon resources.

22 The chart on the left is meant to show that
23 achieving greenhouse gas emission reductions through
24 electrification is projected to significantly increase
25 demand, which relates to the amount of land area

1 required for that generation.

2 This slide here is an overview of the core
3 scenarios and sensitivities that went into the study
4 that we did with E3. In total, there were 61 scenarios.
5 There's a couple of assumptions that I'm going to
6 highlight here. But all of this information is
7 available in a technical report, if you're interested in
8 following up.

9 So, we studied three different geographies from
10 within which California may have access to new resources
11 moving forward. We studied a California only pathway.
12 A pathway where there's some kind of regional solution
13 with a few of the states across the west, mainly
14 California's neighbors. And a scenario called full last
15 (phonetic), where there's a regional solution across
16 most of the states in the WECC. And when we get into
17 the results, I'll show that there's some pretty
18 significant differences depending on the geography.

19 In the center, we explored four different levels
20 of land protection. So, these levels of land
21 protection, as you go through them they increase the
22 emphasis on land protection to reduce impacts to natural
23 and agricultural land.

24 And then, we explored some sensitivities around
25 rooftop solar deployment, reduced battery cost.

1 And all of the scenarios were designed to
2 achieve an 80 percent greenhouse gas emission reduction
3 below 1990 levels by 2050. So, we didn't study
4 neutrality.

5 Now, we'll get into some of the results. So,
6 the 2050 scale of wind and solar across the scenarios is
7 approximately 1.6 to 3.1 million acres. For a little
8 bit of context and reference, I was in Yosemite this
9 weekend. That national park is 760,000 acres, A little
10 more local reference, the combined acreage of
11 Sacramento, Yolo, and Placer Counties is 2.3 million
12 acres. So, two examples that fit right within the
13 ballpark of the scenario.

14 We found that the 2050 generation capacity
15 differs across the geographic scenarios. So, the
16 grouping on the left is the in-state scenarios. And
17 you'll see that the primary resource selected is utility
18 scale solar.

19 As you move to the part west and the full west
20 scenarios, RESOLVE wants to pick up as much high quality
21 resource as it can and bring that into the state. And
22 interestingly, as you integrate wind, the amount of
23 capacity and use overall to achieve the same goal goes
24 down.

25 We did not study offshore in this particular

1 work because we ran the model -- ran the scenarios in
2 2018, when the date wasn't quite available, yet.

3 I do on the in-state scenarios want to highlight
4 one piece. So, I looked up today on the CEC website
5 that the installed utility scale solar capacity through
6 the end of 2019 is about 10 gigawatts in California.
7 The builds in these in-state scenarios for 2050 have
8 over a hundred gigawatts of utility scale solar in them.
9 So, about 10X increase in deployment from today.

10 The resource used to balance the solar
11 generation is the primary difference between the cases.
12 So, in this slide we're showing battery storage and
13 wind. When the model, which we used RESOLVE in this
14 study, has access to out-of-state resources, it
15 generally prefers them to battery storage.

16 And then, we get into some of the cost results.
17 And an important finding is that when clean power can be
18 sourced across a larger area, we found in the scenarios
19 that there were most cost effective opportunities to
20 create balanced solutions for clean power and land
21 conservation.

22 So, another way to think about that, broader
23 geography, more opportunities to think about low-impact
24 siting of generation, more opportunities to have a more
25 balanced portfolio of different types of technology.

1 One of the things that we did in the study was
2 be able to take those bar charts, which come out of most
3 expansion models and actually visualize them using the
4 mapping model.

5 So, on the left, it's going to be a little hard
6 to see at this resolution, we have a map of solar build
7 out through the end of 2018. And it's about -- at that
8 time it was about 90,000 acres.

9 On the right, we have a map of the in-state
10 scenario, level of land protection one, and it's about
11 1.2 million acres of utility scale solar that were
12 selected for those portfolios.

13 So, again, potentially a very significant
14 increase in the amount of generation that's deployed
15 across these scenarios.

16 And then here on this map we're really showing
17 the range of land use outcomes that could be possible as
18 we're thinking about achieving our climate goals in
19 2050.

20 Starting on the left we have the in-state
21 scenario, a part west scenario, and the full west
22 scenario. And this under the third level of land
23 protection, which protects lands of high conservation
24 value in California and across the west.

25 And you'll see some differences. On the left we

1 move from primarily solar resources over to integrating
2 different quantities of wind, which changes the size of
3 the solar imprint from around a million acres to around
4 a half a million acres.

5 So, one of the key outcomes or one of the key
6 recommendations coming out of this study is that with
7 planning California can scale up the clean energy
8 infrastructure needed for decarbonization through clean
9 power and electrification, while limiting impacts to
10 natural and agricultural lands across the west.

11 So, across all scenarios we were able to find
12 pathways that limit impacts to natural and agricultural
13 lands. But there's tradeoffs in terms of which
14 technology is selected, costs, and other variables. But
15 the planning is critical because at the lower levels of
16 land protection we saw significant conversion of natural
17 and agricultural lands to energy.

18 And in fact, one-half to one-third of all solar
19 was sited on agricultural lands or lands that are
20 designed as agriculture. And so, for us, that really
21 points us in the direction of wanting to find solutions
22 to directing solar to farmland that is impaired or
23 otherwise degraded.

24 So, a few recommendations teed up by the
25 questions from the CEC. On the quantitative side,

1 incorporating environmental and land use data into the
2 modeling for the SB 100 report can help improve
3 projections.

4 On the qualitative side, we recommend including
5 a chapter or section on land use, and really socializing
6 and planning for the land use changes that may be needed
7 to meet this ambitious, landmark policy.

8 Thinking about solutions that allow us to
9 identify opportunity areas early, think about planning
10 transmission to those areas, especially important given
11 the long lead time for transmission investments. And
12 thinking through policy structures and recommendations
13 that can enable lower impact development pathways.

14 So, that's what I have. Thank you.

15 MR. GUNDA: Thank you so much, Erica. I just
16 want to open it up to the panelists, if you have any
17 questions for Erica.

18 Okay, then I'm going to move on to the next
19 panelist. Zainab Badi is the Workforce Policy Project
20 Manager at GRID Alternatives, which he helps shape
21 workforce development into renewable energy. She holds
22 a master of public policy, with a focus in environmental
23 policy from UCLA Luskin. And previously was a Policy
24 Fellow at Greenlining Institute. And she's going to
25 offer some perspectives and jobs.

1 MS. BADI: Great. Thank you so much. Good
2 afternoon. Like you mentioned, I'll be talking about
3 some high level workforce considerations that can be
4 taken into account as programs are designed and
5 implemented pursuant to SB 100.

6 And so, to give some background on GRID, we are
7 a nonprofit solar installer, the largest nonprofit solar
8 installer in the country and makes -- and our vision and
9 mission is really to make renewable energy technology
10 available to under-served communities. And along with
11 that to include workforce training, and to that as well.
12 And so, we advocate for equitable and inclusive policies
13 and programs. And we do a combination of both
14 installation and workforce training.

15 So, to begin, I want to touch a little on why
16 workforce is important for SB 100. And first, mainly,
17 there will be a need to expand the workforce to meet the
18 needs of a hundred percent renewable energy target. And
19 secondly, we want to make sure that workforce is not an
20 afterthought in programs but, really, is one of the key
21 components from the onset so that communities that are
22 most in need aren't left behind. So, it's really great
23 to be here and discuss these equity considerations in
24 this process.

25 So, a quick overview. I'll be talking about

1 some existing research and then highlighting one
2 specific example of a workforce program design that
3 could be considered and then just some general best
4 practices in workforce development.

5 So, I'm going to be mainly talking about the
6 recent of the UCLA Luskin Center for Innovation and
7 existing research, which has started to do some work on
8 this subject matter in their recent report around
9 building decarbonization workforce needs that I found to
10 be a helpful resource. That might be useful to other
11 stakeholders in this process. It's not GRID's area of
12 expertise, but I wanted to put this out there as related
13 research that exists that might be helpful to folks that
14 are working more on the analytical piece and how to
15 build this into modeling.

16 So, this is from the report. And it's available
17 online for folks who want to take a look at their
18 methodology. But this estimates job growth from just
19 building decarbonization. So, these are high and low
20 estimates of how many jobs would be created and
21 sustained annually through 2045 in these sectors as a
22 result of building decarbonization. And it ranges from
23 our 60,000 to 100,000 jobs annually.

24 And this is quantifying jobs by resource mix.
25 And again, I'd really point to the Luskin Center

1 researchers as the experts on this issue. And as I go
2 along the rest of this presentation, a lot of what I'll
3 be talking about will be more focused on workforce
4 development in general and how it can be implemented
5 outside of this model. But I wanted to highlight that
6 there is some work being done around quantifying job
7 metrics for decarbonization particularly that can
8 possibly be adapted.

9 So, the main example I wanted to highlight that
10 contains really specific language around workforce
11 development training requirements built into the program
12 is the California Solar on Multi-Family Affordable
13 Housing, which is managed by the PUC.

14 And it has really specific job training
15 requirements for all projects that are awarded
16 contracts. There's a lot of specificity in SOMAH for
17 job training metrics, which is important for program
18 design and implementation. And it's a program that can
19 be modeled and adopted for other programs.

20 And so, here listed are some of the key
21 specificities within SOMAH, including number of trainees
22 by project size. And this is all available in the SOMAH
23 program handbook, which is available online for folks as
24 well.

25 And I wanted to highlight this piece of SOMAH,

1 which focuses on local and targeted hiring practices,
2 which is something that we recommend. So, SOMAH defines
3 local hire as any individual residing in the county
4 where projects take place. And then, target hiring is
5 more broad and includes lists of individuals meeting any
6 of those different key demographics. And within the
7 program there's a job training portal that assists both
8 job seekers and job contractors. And we've found that
9 this is a really useful model for focusing the needs in
10 the communities that need them most. And then, also
11 connecting job trainees to employment opportunities.

12 And some best practices on workforce
13 development. This isn't an exhaustive list by any
14 means, but these things should be taken into account
15 when talking about implementation of workforce. And so,
16 equity in hiring and procurement, like the local and
17 targeted hiring policies.

18 We really advocate for funding set aside within
19 program budgets for workforce development, including
20 paid work and stipends for trainees, and wraparound
21 services. And again, just to ensure that workforce
22 development isn't an afterthought, but is really built
23 into the design of these programs.

24 And then, engagement number 3 and number 4
25 engagement with communities is a really key piece that's

1 brought up often by numerous stakeholders and policy
2 groups. And it's also really important that this
3 collaboration and partnerships as much as possible so
4 that training pipelines are established, and trainees
5 can get hired in the industry once they complete
6 training.

7 And then, establish metrics for success and data
8 tracking is really important as well. And I link there
9 to the Low Income Solar Policy website, for folks that
10 are interested in looking more at a comprehensive list
11 and different models of programs that exist across the
12 company, specifically in solar around workforce
13 development.

14 So, I'll leave it at that. And if anyone has
15 any questions, happy to follow up.

16 MR. GUNDA: Thank you, Zainab. Any questions
17 from the panelists, other panelist for Zainab? All
18 right, thank you.

19 Moving on to our third panelist here. Matthew
20 Freedman is TURN's staff attorney, specializing in
21 electricity. He has over 25 years of experience working
22 on diverse issues, including renewable energy, utility
23 ratemaking, distributed generation, state legislation
24 and consumer complaints.

25 Matt is going to provide some perspectives on

1 affordability and might go into other work as well.

2

3 MR. FREEDMAN: Thank you. Again, my name is
4 Matt Freedman. I'm a staff attorney with The Utility
5 Reform Network. And I may be the only panelist without a
6 slide deck, so I hope you won't hold that against me.

7 I'd like to walk through a couple of concerns
8 and thoughts that I have about the portfolio choices
9 that are in front of the Commissions as part of this
10 implementation process, to flag a couple of concerns.
11 And then, to talk about affordability and how to think
12 about it in the context of SB 100.

13 With respect to what's in the portfolio that
14 agencies are going to be looking at today, SB 100 refers
15 to two categories of resources, eligible renewable
16 energy resources and zero carbon resources.

17 It's not reasonable, in my view, to suggest that
18 SB 100 prohibits any form of combustion generation,
19 which is one of the options on the table. That's not in
20 the statute. The agencies can certainly decide to
21 prioritize some resources. But to categorically exclude
22 them would, in my view, be a mistake.

23 We are at the front end of a big planning
24 process. And broader eligibility criteria are really
25 appropriate at this point in time. It's going to

1 promote the ability to consider all cost-effective
2 solutions that may include combustion resources.

3 It's really impossible to know right now what
4 we're going to need to get all the way to one hundred
5 percent. And although the modeling that's been
6 presented today is a very high quality, and I have great
7 respect for all the modelers working on these hard
8 challenges, the track record of long-term forecasting is
9 pretty poor. And long-term forecasts are directional at
10 best. We shouldn't place too much confidence in them.

11 I'll offer a couple examples from history to
12 make this point. In 1975, the Rand Corporation prepared
13 a report for the California Legislature, forecasting
14 that the state would have 18 gigawatts of nuclear
15 capacity by the year 2000. Well, the state actually
16 ends up relying on five and half gigawatts of nuclear by
17 the time 2000 rolls around.

18 In the early 1980s, the Energy Commission
19 predicted that oil prices by the 1990s would hit \$120 a
20 barrel. Oil prices were actually about six times --
21 that was actually about six times higher than where oil
22 prices ended up being during that time period.

23 When the Renewable Portfolio Standard was
24 enacted, the conventional wisdom was that geothermal and
25 wind resources would dominate, and that there were

1 concerns as to whether there would be any space in the
2 portfolio left for other types of renewable resources.
3 Well, obviously, that didn't come to pass.

4 In 2007 and '08, the conventional thinking was
5 that large-scale solar thermal facilities would be the
6 backbone of the state's renewable energy portfolio.
7 That has not come to pass.

8 In recent years there's been a lot of emphasis
9 on solar photovoltaics, and now on storage.

10 My point being that we should be careful about
11 forecasting long-term trends based on what we know at
12 this point in time because the modeling misses a lot of
13 innovation and unexpected developments that are going to
14 come to pass. And right now there are no rules in place
15 for compliance with SB 100, and the agencies are going
16 to be thinking about this for a long time. So, keeping
17 all the options on the table really makes sense.

18 So, what do we do in the short term? We look
19 for no regrets actions that can be taken over an
20 actionable planning horizon. What would that be? Let's
21 call it five years. In other words, we could spend so
22 much time thinking about the end point of this exercise
23 that we do nothing for the next decade, other than model
24 and think about things.

25 We have to take some actions. We don't want to

1 go too fast, too quickly for fear of investing in
2 resources that end up being a bad bet. But if we wait
3 too long, we've missed opportunities to make meaningful
4 progress. So, a balancing of objectives here really
5 does make sense.

6 One thing that hasn't been mentioned today is
7 another piece of SB 100. I think it was in the initial
8 presentation having to do with resource shuffling. SB
9 100 also states that the achievement of this policy for
10 California shall not increase carbon emissions elsewhere
11 in the western grid and shall not allow for resource
12 shuffling. This was not an accidental addition to SB
13 100. It was quite intentional.

14 And it's based on the recognition that current
15 approaches to greenhouse gas accounting allow in-state
16 buyers to claim credit for purchases of zero greenhouse
17 gas electricity from existing out-of-state resources
18 that have no carbon emissions.

19 What are we talking about? We're primarily
20 talking about large hydro and to a lesser extent
21 nuclear. For a long time California has been relying on
22 out-of-state hydro to satisfy some of our needs. It
23 used to be call economy energy. And after deregulation
24 it was called unspecified energy. Well, now, it's being
25 called zero GHG imports.

1 And the problem that we're facing in the near
2 term is that these resources are essentially coming from
3 existing assets that have no ability ramp up to produce
4 more energy. They can change the timing of their
5 energy, but they're energy-limited resources. And they
6 have load they've been serving in other parts of the
7 Northwest and other parts of the West.

8 So, the idea that you can simply redirect that
9 output on an attribute basis to California and help it
10 to meet the state's environmental goals is problematic.
11 Because in some cases we've seen examples where owners
12 of assets outside the state resell into California, and
13 then backfill to meet their own native loads by going to
14 the market. And what does that do? Well, in many cases
15 it results in the dispatch of thermal units. This is
16 resource shuffling.

17 The modeling needs to look at this. It needs to
18 consider west wide impacts of different portfolio
19 strategies. And my understanding is the modeling to
20 date has really focused on California impacts. It is
21 hard to model the whole West. It's hard to think about
22 what everybody else might be doing in the future.

23 But, unfortunately, we need to take a stab at
24 that, otherwise we end up misrepresenting the impact of
25 our state policy choices.

1 And we also need to look at how we do greenhouse
2 gas accounting, which is a topic that makes everybody's
3 head hurt, but it's really quite important. For
4 example, right now imports of unspecified electricity
5 have a static emissions factor that the Air Resources
6 Board developed a decade ago, based on a study of grid
7 conditions back in 2008. Well, as more and more zero
8 greenhouse gas resources are stripped out of the
9 unspecified mix and sold separately, you'd think the
10 unspecified mix would be potentially changing. You'd
11 think it might be changing on an hourly basis. But the
12 accounting doesn't reflect that.

13 In addition, we know that the Public Utilities
14 Commission has been very carefully at hourly accounting
15 and there's a lot of emphasis on moving to an hourly
16 accounting approach. These are the kind of innovations
17 that we need to be looking at as part of any statewide
18 modeling exercise. And we think that the Joint Agency
19 Report should identify this as a scope of work for
20 further progress to be made as part of operationalizing
21 the SB 100 goals.

22 There was an item that was teed up around
23 measuring SB 100 compliance, retail sales versus total
24 supply on the grid. Why does SB 100 identify retail
25 sales as the relevant metric? Because that's the piece

1 of the system that is clearly state jurisdictional. The
2 state cannot regulate the amount of supply that shows up
3 in wholesale markets. That's federal jurisdiction. And
4 as we all know, the federal government is not a great
5 partner for California right now on the issue of moving
6 forward with these greenhouse gas targets. Perhaps in
7 the future the federal government will be a more willing
8 partner, but for now they are not.

9 I think it's clear the goal of SB 100 is total
10 transformation of the system even if it's focused on the
11 metric of retail sales. And there may be ways to
12 reconcile these two approaches.

13 One would be to revise accounting protocols to
14 ensure that retail providers are assigned responsibility
15 for resources that they don't explicitly purchase, but
16 are really needed to meet their retail sales
17 obligations.

18 For example, a retail provider today that buys
19 100 percent GHG free electricity may also end up getting
20 a hundred percent of their resource adequacy from gas-
21 fired units. But there is no allocation of
22 responsibility for the emissions from those entity that
23 buys that resource adequacy. So, we have all this
24 missing emissions that sort of drift into the system.
25 There's got to be a way to account for that. And I

1 think this is an area of study that the agency should
2 look at.

3 So, how do we reconcile all of these aggressive
4 goals with affordability? Well, there are number of
5 significant near-term pressures on electricity rates
6 that are inflicting huge economic pain on California
7 ratepayers today.

8 The total system average rate of the three
9 investor-owned utilities historically tracked close to
10 inflation, but it's been deviating in the last number of
11 years. And although California customer bills have
12 historically been lower than the national average due to
13 milder climates and lower usage, we're seeing increases
14 in rates that are threatening this track record. And
15 one of the ways that that's showing up is an increase in
16 customer disconnections.

17 In 2010, the four major investor-owned
18 utilities, meaning the three electric investor-owned
19 utilities, plus Southern California Gas, 600,000
20 customers were disconnected for nonpayment. In 2018,
21 that number increased by 50 percent, up to 900,000. So,
22 we have a crisis of affordability that's showing up in
23 customers being unable to pay their bills. We're going
24 to have to take some action on this in tandem with
25 meeting our SB 100 targets.

1 And the rate increase trends are really driven
2 by two factors, declining sales and increasing revenue
3 requirements. It's a bad combination. Trying to spread
4 more money over fewer sales is going to lead to a very
5 significant uptick in rates.

6 And that increased spending is due to wildfire
7 mitigation plans, and grid resiliency hardening,
8 transmission additions, and general investor-owned
9 utility initiatives to deploy more and more capital.

10 Declining and flat sales are due to energy
11 efficiency and behind-the-meter customer generation.

12 And because SB 100 implementation is going to
13 require a lot of spending on new infrastructure, the
14 state has got to look at some very creative ideas for
15 potentially removing some of these costs from rates and
16 finding ways to bring down the cost of the investments.

17 One option that should be considered is the
18 potential to deploy the state's general fund money and
19 the state's bonding capacity to reduce the cost of
20 getting to a hundred percent. Moving some of these
21 costs out of rates and into general taxpayer revenues
22 could help to promote affordability of basic usage.

23 The options include tax credits and using
24 bonding for infrastructure improvements. The public
25 sector cost of debt is far below the investor-owned

1 utility cost of capital. Investor-owned utilities are
2 getting seven and a half to eight percent weighted
3 average cost of capital. If you look at the
4 transmission investment side, PG&E has been authorized
5 12 and a half percent. Edison is asking the federal
6 government for 17 percent return on equity. These are
7 eye-popping numbers

8 When you do public sector bond issuances and you
9 look at publicly-owned utilities in the state, their
10 cost of capital is looking like 4 to 5 percent. That's
11 a big spread. If there's a way to use the public sector
12 capability to issue debt, to substitute for the higher-
13 priced utility investment, there is an opportunity to
14 bring down costs while making big investments.

15 We know that electrification is another
16 interesting topic. If you increase electrification, you
17 get more sales. More sales should provide downward
18 pressure on rates. But it costs money to do
19 electrification. And there's a way to throw a lot of
20 money at this problem and not get great results.

21 In particular, you can spend a lot of money to
22 retrofit existing homes, but you may end up in a
23 situation where the savings to all customers aren't that
24 great. Which doesn't mean you don't do it, it means
25 that you mitigate your expectations about whether you're

1 really going to see huge rate savings.

2 And when you start moving customers away from
3 gas and there's big declines on the gas system, we're
4 going to see a spike in gas rates that's going to have
5 its own set of consequences. And there's a good report
6 that was done recently by Gridworks, and maybe many of
7 you have seen this, that looks at projected future
8 trends for gas rates. Some of the scenarios are pretty
9 ugly.

10 Someone suggested rate design can solve this
11 challenge. If we just design rates right, we'll get the
12 affordability problem handled. But rate design just
13 shifts costs from one set of customers to another. It
14 doesn't fundamentally reduce the average rates.

15 And rate design that's done to assist early
16 adopters of new technologies can have major free-rider
17 problems and widen the gap between haves and have nots.
18 Customers that want to spend a lot of their own money on
19 new technologies, giving them a great rate, they'll be
20 able to save a lot of money. But sometimes those rates
21 also allow customers with just favorable load profiles
22 to save a ton of money. And it means that the loss in
23 revenues ends up having to be collected from other
24 customers who don't have access to these new
25 technologies.

1 The last thing I want to talk about is behind-
2 the-meter resources. And I think this is controversial
3 one, but it must be said that the assumptions about
4 behind-the-meter resources are likely to be a key driver
5 of overall costs and rate impacts associated with SB 100
6 goals.

7 We've seen total average system rates have gone
8 up for the three investor-owned utilities in recent
9 years. But for San Diego Gas & Electric, their rates
10 have gone up a lot faster, about 6 percent per year.
11 Why are they so different? Well, one reason is that
12 they have greater adoption of customer side solar that
13 is eligible for net energy metering. Over 12 percent of
14 residential customers in SDG&E's service territory are
15 on net energy metering.

16 This tariff is a money loser for the utilities.
17 But shareholders don't pay the costs. Other customers
18 pay the costs. And the cost shifting is becoming
19 significant.

20 Right now, the investor-owned utilities'
21 programs essentially exempt net energy metering
22 customers from a variety of costs that we would argue
23 represent a shared customer responsibility. It is
24 reasonable for a customer to avoid paying for wildfire
25 liability costs because they switched to rooftop solar?

1 Or, should they be able to avoid investments in system
2 electrification? Should they pay less towards public
3 purpose programs that support research and development,
4 and low-income programs?

5 The problem is that the existing tariff
6 treatment for net energy metering, which was critical to
7 getting the solar industry off the ground is simply not
8 sustainable, and it's definitely not scalable to higher
9 rates of customer adoption.

10 So, the need to reform net energy metering
11 becomes much more important as we look out towards
12 achieving these big goals. And the SB 100 report these
13 agencies prepare really should consider alternatives to
14 the current net energy metering paradigm and assess the
15 costs of continuing the current approach versus
16 alternatives.

17 And why is it so important to be in this report?
18 Because the state's decarbonization goals are being
19 implemented with a significant focus on behind-the-meter
20 generation.

21 The Public Utilities Commission is looking at a
22 doubling of customer side solar over the next decade,
23 about on par with the amount of growth in utility scale
24 grid connected solar. That's a one for one. But
25 customer side solar is more expensive to install and

1 other customers have to pay a much higher premium for
2 that.

3 Right now, if a customer with net energy
4 metering put solar on their roof, they're essentially
5 getting paid 20, 25 cents a kilowatt hour for that. If
6 the utility, instead, were to go buy central station
7 solar, even with storage, lots and lots of storage,
8 maybe you're looking at 4 cents a kilowatt hour. That
9 is a big spread.

10 And on top of that we have recent legislative
11 and regulatory focus on microgrids. Are microgrids the
12 solution to all of our problems? Well, distributed
13 resources are more expensive, but they do make sense
14 when a customer can avoid paying for these shared system
15 costs. I would be happy to cut myself off from the
16 grid, if I don't have to pay for everybody else's -- you
17 know, for my share of all of these systems costs that
18 are needed to keep the system going.

19 And if we're providing net energy metering-like
20 treatment for microgrids, this is going to create an
21 even bigger problem with respect to affordability.

22 So, the Joint Agency Report should identify
23 scenarios involving different ratios of behind-the-meter
24 and large-scale solar, and should consider the impact of
25 affordability. On affordability of continuing current

1 tariffs versus alternative approaches. At least look at
2 quantifying the rate impacts. And I don't see that
3 anywhere in the modeling that's being teed up today.

4 These assumptions may prove to be the most
5 consequential with respect to the overall affordability
6 of achieving SB 100 goals in a cost effective manner.
7 Thank you.

8 MR. GUNDA: Thank you, Matt. Any questions from
9 the panelists to Matt?

10 Okay, the next panelist, Dr. Michael Wara, is a
11 Senior Research Scholar at the Woods Institute for
12 Environment, and Director of the Climate and Energy
13 Policy program focused climate and energy policy.

14 The Wara scholarship focuses on carbon pricing,
15 energy innovation, and regulated industries. Dr. Wara
16 recently served on the Catastrophic Wildfire Cost and
17 Recovery Commission. He's going to offer some
18 perspectives on resiliency.

19 DR. WARA: Green. Green is good. Thank you
20 very much for inviting me to provide some perspective on
21 the implications of resilience and resilience thinking
22 with respect to the SB 100 goals.

23 I think it's worth just reflecting on kind of
24 what resilience means. It's kind of a nebulous concept.
25 Before we get into -- or, before I provide some

1 specifics.

2 When I think about climate resilience or just
3 plain old resilience in the power system, you know, we
4 typically think about capacity to recover quickly from
5 disturbances, from some sort of ideas about toughness.
6 And maybe in contrast to that or intention with that
7 ideas about elasticity and a flexible system that can be
8 self-healing.

9 I would add that I think -- and I think I agree
10 with a lot of what was just said, a resilience system is
11 an equitable system and an affordable system. And that
12 the more that we move away from that, the harder it will
13 be to construct a system that's really robust to
14 whatever shocks come upon it.

15 In particular, when we think about climate
16 change and global warming, I think what resilience
17 amounts to in the power sector context is the ability to
18 withstand shocks that exceed the design basis of the
19 infrastructure when it was built.

20 You typically build infrastructure today, or in
21 1970, or in 1920, depending on what we're talking about
22 in the California power system, with a particular idea
23 of the weather-related variables, other shocks that may
24 occur. And what is most challenging about climate
25 change is that it really undermines many of those

1 assumptions.

2 That means we need to think ahead. We need to
3 think about where the puck is going to be. And I would
4 just say, you know, there are a number of typical kind
5 of, you know, things, factors that have been considered
6 with respect to climate resilience and grid planning.
7 Sea level rise has been one. Heat has been another.
8 And, of course, lately we've been worrying a lot about
9 wildfire and weather-related impacts on the system.

10 I would just add, you know, as we think about SB
11 100 and broader, you know, system energy planning over
12 the time scale of decades, I think it's really important
13 never to forget as earthquake as a potential resilience
14 function. And that whatever we do on a 25-year time
15 scale should factor in the resilience of the system to
16 the major earthquakes that will with certainty occur,
17 both in Northern and Southern California.

18 So, how does that relate to how these set of
19 concerns, these broad set of concerns relate to the
20 planning that you are charged with accomplishing? No
21 easy feat. I completely agree. And I've written
22 several publications that basically support the view
23 that Matt Freedman just expressed about the challenges
24 associated with long-term energy forecasting. It's a
25 very difficult job.

1 But I think there are sort of three big take
2 homes that I would recommend that you consider. One is,
3 and this is maybe an intention with what was just said,
4 the relative value of incremental, and I would emphasize
5 that point, incremental residential solar plus storage,
6 and/or hybrid microgrids in the context, the specific
7 context of high fire threat areas. This is not general
8 application. I'm not suggesting that this is a one-
9 size-fits-all solution. But I think this is an area
10 that's received a lot of attention lately, both from
11 you, from the PUC, from the Legislature, and from the
12 utilities themselves. And it's an important one because
13 over the last year we've experienced I think what can
14 only be described as extraordinary reliability impacts
15 in particular areas of the state. Not everywhere. Not
16 even most places, right. A million, I guess 950,000
17 customers. It sounds like a lot, but it's really 20
18 percent of the PG&E customer base that were impacted in
19 the major blackouts during October.

20 And really, when you drill down into the data,
21 you find that there are clusterings of customers that
22 are much smaller than that that have been most severely
23 impacted by PSPS throughout last year.

24 I think at this point it's very hard to simulate
25 what this impact, what the meaning of this, what the

1 costs of this are because, really, there's no agreed
2 upon set of expectations for how this situation will
3 evolve over time.

4 Some people have said that -- the Governor in
5 particular has said that the situation is unacceptable.
6 The CEO of one of the IOUs has said that PSPS may be
7 reduced by a third. That would still leave 600,000
8 people in the dark in October, or 600,000 customers in
9 the dark in October. 600,000 meters in the dark.

10 Which to my mind is a substantial reliability
11 problem for both low-income, and high-income customers,
12 and commercial customers, and communities in impacted
13 areas of California that I think we just need to
14 address. And so, I think thinking about how those
15 should be incorporated -- how that reality on the ground
16 needs to be incorporated into planning, both in terms of
17 what we should expect from load when the lights are on
18 in those places, and in terms of the potential value of
19 those resources to the system when the lights are on is
20 worth doing.

21 But I would argue that that's something that
22 needs some thought, some attention, and probably a lot
23 of consultation and input from the entities that are
24 really boots on the ground when it comes to these
25 questions. The CCAs that are running around, putting

1 backup generation in place for critical infrastructure.
2 The IOUs that are standing up these temporary
3 microgrids, possibly, and the DER providers.

4 But we need to be thinking about this and paying
5 attention to how the PSPS situation evolves over time.
6 It's clearly an evolving context, but it's one that I
7 think is potentially significant in terms of the needs
8 and the resources available to comply with SB 100.

9 Another very important consideration I would
10 argue is the incremental cost of transmission moving
11 forward. There's a very -- I think one of the most
12 important things that was said in PG&E's Wildfire
13 Mitigation Plan, the draft that was filed with the PUC
14 at the beginning of February, is a section that
15 discusses moving from what they refer to as run to
16 condition as approach to maintenance of the T&D
17 infrastructure to preventative maintenance in high fire
18 threat areas.

19 Typically, the system we have has been run to
20 condition. And what that means is that because the
21 expectation was that system components would fail during
22 winter storms, with very low significance consequences
23 for the broader system or for ratepayer that elements of
24 the system could be run far beyond their useful lives,
25 until they broke.

1 As the utilities, and I think this is all three
2 IOUs, move toward a preventative maintenance framework
3 for the areas that are high threat that is going to
4 involve much higher costs. And that tends to shift the
5 balance of value between building more wires versus
6 building either storage in load pockets, or facilitating
7 some sort of more decentralized arrangement that
8 minimizes the need for these wires that are now both
9 expensive to both construct, but more importantly to
10 maintain.

11 We really don't have a good model yet for much
12 this is going to cost, but we do have some examples to
13 look at. One that I would point to is the history of
14 rates in San Diego Gas & Electric's territory. There is
15 a reason that people there put solar on their rooftop.
16 And the reason really starts in 2007 with the Witch,
17 Rice and Guejito fires, right. San Diego implemented
18 grid hardening after 2007. It hit rates around 2012.
19 And I think all of us who have looked at the PUC annual
20 reports know and remember what happens at that point.
21 The SDG&E rates jumped right up above the other two
22 IOUs.

23 I think that's -- the unfortunate reality is
24 that's the future in high threat areas. That is the
25 impact of preventative maintenance on cost. And to the

1 degree that the other IOUs have more above ground
2 infrastructure, SDG&E has more underground than the
3 other two IOUs. So, the degree that they have to manage
4 more aging transmission infrastructure, there's
5 wonderful reporting in the *Wall Street Journal* that
6 shows, has a figure that shows the age of at least the
7 publicly available -- well, it's not publicly available.
8 The ages of the transmission infrastructure that PG&E
9 owns, for which we know the age, most of it was
10 constructed pre-1970. Right. So, the new stuff is
11 going on 50 years old.

12 That implies that we're going to have to replace
13 a lot of it over the time frame of this planning
14 horizon. So, we need to think about what are the costs
15 of that? What are the continued costs of maintaining
16 that infrastructure in a way that will not cause fires,
17 which are catastrophic for ratepayers and for the
18 affordability of everything under consideration today.

19 And factor that into the planning model, I
20 think. I think we cannot assume that the old
21 assumptions about the cost of T&D are right in the
22 current weather and climate environment.

23 And I guess the last thing I would say is we
24 have to think about what happens in response to that.
25 As Mr. Freedman said, there are a lot of pressures on

1 costs right now, and on affordability. And I think it's
2 important to have realism about the cost of grid-
3 supplied power, and likely responses to that higher
4 cost. What do people do when they experience higher
5 cost of power? How do they respond?

6 And over the time scale that we're talking
7 about, 25 years, what does that mean for higher DER
8 uptake in non-high threat areas? And the San Diego
9 experience was mentioned. I intended to mention it as
10 well, but I'll just skip over that.

11 I just think we need to be careful not to assume
12 that the customer will always be there. I think that to
13 the degree that we can encourage electrification in
14 cost-effective ways, you know the history of the 20th
15 Century is that costs fell as load grew. If we can keep
16 that pattern going in California, through building
17 electrification, and vehicle electrification that is
18 cost effective and strategic, and it's public
19 investment, there's a way out of this.

20 But it's also important to factor in, you know,
21 as a number of parties have mentioned that the
22 distributed -- what I think of as the manufactured
23 components of the energy system, things that can be made
24 in factories of small scale, those costs are going to
25 fall. They're going to continue to fall.

1 And to some degree the costs of storage are
2 really disconnected from what happens in the electricity
3 system because they're driven by vehicle electrification
4 at this point and not deployment as energy storage.

5 So, we should be attuned to this potential and
6 at least evaluate costs with different scenarios in
7 mind. Different scenarios with respect to customer
8 response to changing energy prices.

9 I'd just close by saying that I think the
10 experience of the last three years, for anyone who works
11 in the electricity space has been one where it really
12 brings equity to the fore, as never before because of
13 the financial challenges that the utilities are facing.
14 And I know that the folks sitting up on the dais today
15 take that concern to heart, and I would encourage you to
16 continue to do so as you think about SB 100
17 implementation. And finding sort of a dual path to
18 success, where we ensure that the covenant we all have
19 to make energy access affordable for all California is
20 maintained, even as we reduce the climate impacts of
21 living in this kind of world.

22 Thank you.

23 MR. GUNDA: Thank you so much, Dr. Wara. I'm
24 just going to open it to the panelists if you have any
25 comments or questions of Dr. Wara?

1 Okay, with that, moving on to the final
2 panelist. Phoebe Seaton is a co-founder of the
3 Leadership Counsel and leads the Leadership Counsel's
4 state level policy work.

5 The Leadership Counsel works with impacted
6 communities to advocate for sound policy and eradicate
7 injustice, just like your equal access to opportunity
8 regardless of wealth, race, income and place. And
9 Phoebe's going to offer some perspectives on equity
10 issues.

11 MS. SEATON: Thanks so much. I'm just going to
12 say a few words. The other panelists and, hopefully
13 other participants will discuss more of the issues
14 around affordability and access, and making sure that
15 with our public investments and other incentives we're
16 addressing that from a community perspective and a
17 household perspective.

18 I want to focus on I think there has been some
19 conversation in the last panel, and in other panels on
20 environmental justice, but I really want to highlight a
21 few points as we're talking about energy production and
22 procurement. And the need for the SB 100 implementation
23 to take into consideration environmental justice
24 broadly. And there's been some discussion around air
25 quality.

1 So, I think the three or four things that come
2 to mind for us right now are kind of air quality,
3 impacts on communities, community cohesion, water
4 quality, and general how we're addressing climate change
5 broadly to communities most vulnerable.

6 On the air quality side, I agree with a lot of
7 what Matt discussed. Do feel that we have now an
8 opportunity to really transition off of combustion
9 fuels. Absolutely critical for the communities where
10 combustion is happening and that we need to develop
11 scenarios where we're not combusting.

12 There was also discussion earlier today around
13 biofuels and RNG, which again are impacting some of the
14 most vulnerable communities, areas of the most impacted
15 air quality and water quality. And really look to SB
16 100 as well to look at reducing and eliminating our need
17 to rely on renewable natural gas, which generally isn't
18 renewable. But that can be a topic for another
19 conversation.

20 Similarly, on the water quality side, I know
21 that the air and energy is a common nexus, but really,
22 really important that we're looking at water as well.
23 Both on the discharge side, and on the surface water,
24 and on groundwater, and how what we're looking at the
25 different inputs in procurement, kind of resources that

1 we're looking at address water quality.

2 Again, so much of kind of the energy framework
3 is in some of the most impacted communities. Impacted
4 not just by air quality, but contaminated water. So,
5 we'd really like to see that in the analysis in our
6 report.

7 And we've had some really good conversation with
8 TNC on kind of their analyses. And one of the things
9 that came up is that solar is one of the obviously
10 preferred resources that we're looking at, but many
11 communities are feeling that they're becoming surrounded
12 by and just becoming kind of solar farms.

13 And that both the aesthetic and the community
14 impacts of being completely surrounded by utility
15 photovoltaic, and what that means and what we should do
16 to address that, and ensure that communities can
17 maintain their character as we're building out our solar
18 framework.

19 I would, of course, like to see much, much more
20 rooftop, and how do we invest in rooftop and how do we
21 invest in the homes that need rooftop and community
22 solar more than anyone else?

23 I think on the vulnerability side and on the
24 affordability side we can address a lot of our
25 vulnerabilities there.

1 And kind of lastly, as a general matter, I think
2 we do want to see as aggressive an approach as possible
3 to using this tool, SB 100, and these policies to be as
4 aggressive as we possibly can in reducing our carbon.
5 Not relying, I think, on carbon sequestration, but
6 really reducing our carbon demands.

7 You know, we're looking at the scenarios and
8 we'll comment on the scenarios approach as we consider
9 the different opportunities. We'd love to see kind of
10 an equity scenario. What would a scenario look like?
11 What would our resources look like in our demand, et
12 cetera, in the most equitable framework we can imagine,
13 from an affordability side and from an environmental
14 justice side.

15 We'll do some thinking on that, but we'd love
16 the Commission to consider that as well.

17 MR. GUNDA: Thank you so much, Phoebe. Any
18 thoughts, comments to what Phoebe had to say? Okay,
19 Matt, do you want to respond to the no combustion that
20 kind of Phoebe mentioned?

21 MR. FREEDMAN: Sure. I think the concerns of
22 disadvantaged communities should be front and center in
23 the implementation process. My comments were not meant
24 to suggest a devaluing of the concerns of people living
25 in heavily impacted communities, but rather to say we

1 are attempting the total transformation of the electric
2 grid. Something that has not been done. It is the
3 heaviest of all lifts. And all options should be on the
4 table as we think about the long game
5 plan.

6 My suggestion is not that we run out and order
7 the procurement of a lot of new combustion technologies,
8 but rather that we keep all the tools on the table as we
9 think about how to get from here to the end goal.

10 And really, the next steps along the way, in my
11 view are the ones that are already occurring. We know
12 we need more solar. We need more wind. We need more
13 of the technologies that we already know about. We need
14 more storage. We should start doing those immediately.

15 And we should avoid the temptation to wait until
16 a much later date to do things because they get cheaper
17 in the models. Everything looks cheaper ten years from
18 now. I would much rather have the i-Phone that is
19 available in ten years than the one that I bought three
20 years ago.

21 I would much rather have batteries that are
22 going to be available in 2030, than today. But that is
23 a prescription for perpetual inaction and we need to be
24 careful about that.

25 So, I think on the combustion front it's just

1 keep everything on the table. And the market's going to
2 let us know what technologies are available at what
3 costs and whether it's going to make sense.

4 MR. GUNDA: Just to quote Matt from his kind of
5 talk, he said: No regret solution on an actionable
6 horizon is what he said. This was very eloquently put
7 together.

8 So, I would like to just kind of ask each of the
9 panelists if there is one thing that you can think of
10 that's no regrets in an actionable time frame, and what
11 would it be?

12 MS. BRAND: Are we going in order? Okay. I
13 mean, I think that one thing that stands out across the
14 research that we've done is the potential role of solar
15 on the utility scale side. And so, we don't know how
16 much projections will change, but we'll need a lot more
17 than we have today.

18 So, the investments that we're making now into
19 figuring out where to site it, how to remove barriers,
20 how to create incentives so that we can have low impact
21 deployment of large scale solar at the pace and scale
22 needed I think is least regrets strategy.

23 MS. BADI: Yeah, I want to echo that. And then,
24 also, just reiterate that we're going to need a trained
25 workforce in order to implement this. And so, it will

1 be really important to fund partnerships, fund training,
2 and build that at the onset.

3 MR. FREEDMAN: Answer my own question. I think
4 the action items in the next couple of years are to make
5 sure that we are engaging in additional procurement of
6 new resources so that we're not taking too much of a
7 breather while we think about the long game plan. That
8 we should develop much better protocols around
9 greenhouse gas accounting, and particularly looking at
10 out-of-state. And how we as a region measure progress.
11 If you're going to regulate it, first you have to
12 measure it. And I think there's a missing piece there
13 and that's part of a long term game plan.

14 DR. WARA: I'm going to just -- I think that the
15 continued procurement, even in the current context is
16 really important to keep the forward momentum. At the
17 same time, I think that we do need to be thinking about
18 a long-term path that evolves toward a more regional
19 energy market. The EIM is a really important start.
20 The EDAM that will be, you know, moving forward this
21 year as sort of a deepening of that.

22 And I actually think that those tools or those
23 new markets are ways to solve some of the accounting
24 challenges that Matt has mentioned. There's been a very
25 constructive dialogue -- well, at times. Yeah, there's

1 been a very constructive dialogue between the ARB and
2 the ISO on these accounting issues with respect to the
3 EIM. And it's led to different approaches that are more
4 sophisticated and more nuanced, and they take account of
5 the market factors to which Matt is referring to some
6 degree. Not perfectly, but to some degree.

7 And I think we need to keep working on those
8 accounting questions as a way of deepening our regional
9 connection. We have these regional connections.
10 They're going to become increasingly important to
11 achieving a cost effective mix of renewables as we move
12 forward. And I think, as I've said, you know, because
13 of the challenges we face, cost effectiveness just has
14 to be central to getting to the goals.

15 MS. SEATON: Yeah, I think on the accounting
16 side and kind of the analysis side, having a full, very
17 transparent understanding of how we're calculating our
18 greenhouse gases throughout, in addition to the other
19 elements of environmental justice in terms of the
20 working into our analysis the air quality impacts, and
21 benefits, water, et cetera, and community engagement --
22 community cohesion and engagement.

23 And I just think, I think where we have flat in
24 our climate policy on the transparency side, and that
25 needs to change immediately.

1 MR. GUNDA: Thank you. I have one question.

2 COMMISSIONER MCALLISTER: Can I actually jump in
3 real quick?

4 MR. GUNDA: Yeah.

5 COMMISSIONER MCALLISTER: I guess, so really
6 appreciate your being here, this is great. And all your
7 perspectives really complement each other quite nicely.
8 It's a really nice panel overall and very stimulating.

9 I wanted to kind of draw out what I think -- I'm
10 not sure if it's a difference of opinion or just sort of
11 the way you stated it, but between Dr. Wara and Mr.
12 Freedman.

13 And, you know, I think, you know, Mr. Freedman
14 you've heard this before from me. And, you know, you
15 -- I totally understand with your ratepayer advocate hat
16 on you're like don't rely on time-responsive rates. You
17 know, I get that.

18 Like, I mean I feel like there are equity
19 concerns that absolutely have to be addressed. And
20 maybe it is that we're not mostly talking about
21 residential and we're talking about other pieces of the
22 economy.

23 But I guess I wanted to kind of ask both of you,
24 and feel free to expand on this anybody. In terms of --
25 and then, just, you know, we've mentioned carbon signals

1 and, you know, sort of the carbon content of the grid,
2 and going hourly. You know, what is the role of that
3 ecosystem in our view of like taking signals from what
4 the grid needs, reliability, carbon content, you know,
5 whatever. Whatever, what we're trying to achieve with
6 SB 100, and putting those in front of the consumer
7 really at every level, all the way down from the supply
8 down to the consumer. Like that ecosystem, how powerful
9 of a tool do you see that as being as forming part of
10 the solution?

11 You know, there's a lot going on in both of our
12 Commissions along these lines, and load management and,
13 you know, some legislation we're implementing, and
14 building standards and, you know, many, many fronts.

15 And I'm hopeful that that ecosystem can help us.
16 That those tools, and particularly the digitization, you
17 know, sort of evolution of those tools.

18 But I also don't want to get out of our skis
19 and, you know, use it in -- if it's not going to be
20 really a core tool.

21 So, I guess I'm curious as to how, you know,
22 your feelings are evolving about that? I don't know, si
23 that a clear enough question for you?

24 MR. FREEDMAN: I think I understand the
25 question, Commissioner.

1 COMMISSIONER MCALLISTER: Okay.

2 MR. FREEDMAN: Thank you. And let me just
3 clarify, my point in raising rate design was not to
4 knock on time of use or dynamic rates, but simply to
5 respond to what I understand to be some of the
6 commentary coming up recently that if we just fix rates,
7 rate design, we've solved the affordability problem.
8 And this is a different issue. It doesn't make
9 everything cheaper, it just moves money around.

10 If we change the rate design for all of us here
11 at this table, some of us are winners and some of us are
12 losers. That was my point.

13 Now, the role of time-of-use rates is a really
14 interesting topic. And we're actually facing this
15 really fascinating challenge where time-of-use rates are
16 being designed based on wholesale costs. But that's not
17 matching up with environmental impacts.

18 So, if you wanted to design rates to take into
19 account greenhouse gas emissions, they would look quite
20 different than the time-of-use rates and the dynamic
21 rates that are being developed today. And in fact, they
22 may be so complicated that nobody would be able to
23 respond to them unless it was completely automated.

24 One thing that a lot of us have talked about is
25 the idea that the optimal form of customer response is

1 kind of set and forget it, rather than customers having
2 to pay attention to when rates are changing. Because at
3 least at the residential level customers are overwhelmed
4 and confused about pricing.

5 And so, you want to have everything designed to
6 be kind of opt in. Where customers, to the extent that
7 they have shiftable load they make a decision once, and
8 they kind of forget about it, and their load shifts
9 automatically.

10 And there are some opportunities for that and we
11 definitely need to design rates to encourage customers
12 to do that.

13 We also want to be careful about setting rates
14 with such high expectations that everyone is going to
15 opt in and join it that we end up getting a lot of free
16 riders.

17 There's a large diversity of customers at the
18 residential level with different load profiles. And
19 every time you set a really attractive rate, with very,
20 very deep off-peak discounts, there's a bunch of big
21 users who are structural benefiteres and will see huge
22 savings just by opting in without changing their
23 behavior at all.

24 So, the challenge of rate design is how do you
25 construct these interesting rate options to incentivize

1 incremental behavior. I think that's the holy grail and
2 I'm not sure we've figure it out, yet, but that's what I
3 think we should be looking at.

4 And then, one more thing would be sort of the
5 opposite is the proposal to just create mega-fixed
6 charges. What if everybody just pays the largest of the
7 fixed charge, a hundred bucks a month and usage is free.
8 Well, that creates its own set of really big problems
9 and I would not encourage us to go down that route.

10 COMMISSIONER MCALLISTER: Great, thanks.

11 COMMISSIONER RANDOLPH: I'm just going to kind
12 of make a little bit of an editorial comment. I really
13 appreciated the conversation about kind of no regrets
14 steps for now because I think it's really important that
15 we have this discussion to consider the limitations of
16 this report. Right. To Matt's point, you know, this is
17 not -- you know, we cannot project out to 2045. We can
18 just try to understand where we are now and where we see
19 ourselves going.

20 And the legislation says every four years we're
21 going to go through this exercise. So, I think it's
22 really important not to get too bogged down into sort of
23 assuming that we're going to be able to map it all out.

24 Like, you know, as an example one of the
25 resources we have on our list for RPS Plus is gas

1 generation with carbon capture and storage. And as we
2 heard at the last panel nobody is thinking -- you know,
3 nobody is thinking about that here for our, you know,
4 gas-fired generation resources in the state. So, to me
5 that's sort of part of the bucket of some of the things
6 that we need. Like, longer duration storage that can be
7 more locally sited. You know, things like that that
8 would -- we need to be thinking about what we need. And
9 we have to be comfortable with the fact that maybe we
10 don't have it at this moment, but we need to be trying
11 to work towards it.

12 So, I -- but we also need to be thinking about
13 the short term. So, I appreciated the no regrets
14 conversation. That was very helpful to hear.

15 DR. WARA: I'll just respond quickly to your
16 question, Commissioner McAllister. You know, I think
17 it's very odd to have a market with a vertical demand
18 curve. Right. And we need to -- whatever we can to
19 move away from a vertical demand curve benefits
20 everyone.

21 The challenge I see, I think there are sort of
22 twofold. One -- or the opportunities, maybe. One is to
23 push consumer device manufacturers to build in exactly
24 the kind of technologies that Matt referred to where --
25 and I'll just give examples from my personal life. We

1 have two electric vehicles in our family. One is
2 entirely programmable to gain the time of use rate. The
3 other requires me, out in our driveway at eleven o'clock
4 at night, or midnight before I go to bed, to plug the car
5 in. And we could -- you know, or to buy a separate
6 charger that costs several hundred dollars more.

7 And I think to the degree that we can push the
8 device makers to make things as, you know, plug and
9 play, like sort of set it once and forget about it as
10 possible, the more successful we will be in moving from
11 a vertical to a sloped demand curve for electricity
12 consumption.

13 The challenge there, though, is equity. Right.
14 I mean the people that are going to be most able to
15 purchase these kinds of devices are people like me who
16 are, you know, very fortunate and just straight up
17 lucky, and have the resources to purchase things like
18 electric vehicles. And it's going to be harder to put
19 those devices in the hands of folks who have fewer
20 resources and are struggling to afford life in our
21 state. And I think that's just a -- you know, that's a
22 question that goes back to where do we -- how do we pay
23 for these kinds of things and how do we create the right
24 set of incentives. And I know that both of you are
25 working hard to focus the incentives of the state on

1 lower and moderate income individuals. And I think
2 that's a really important challenge.

3 But I guess I am very optimistic. I look around
4 the ecosystem at Stanford and I see enormous numbers of
5 companies that are trying to figure out exactly how to
6 do that in way that maintains cyber security that
7 minimizes the computational load for grid optimization
8 and is actually, you know, set once and forget for the
9 customer. So, that they might actually want to do it,
10 as opposed to having to get up off their couch at 8:30
11 at night, which no one is ever going to do. So, that's
12 --

13 MR. GUNDA: Thank you, Dr. Wara. Any other
14 questions from the Commissioners? Okay, with that I
15 would just like to thank the panel. That was some
16 thought-provoking ideas and some clearly articulated
17 questions that we ought to be studying moving forward in
18 the study. So, thank you.

19 I think we would request you to just stay in
20 your seats as we have some public comment.

21 MS. GALLARDO: Here we go. Noemi Gallardo,
22 Public Advisor for the Energy Commission. I have a few
23 people lined up for comments. Julia from the Bioenergy
24 Association of California. After her will be Nancy,
25 from the California Wind Energy Association. Then, Ben

1 from the California Solar and Storage Association. And
2 fourth would be V. John White from CERT.

3 MS. LEVIN: Good afternoon Commissions, Julia
4 Levin with the Bioenergy Association of California. I
5 want to pic, up on a few things I've heard this
6 afternoon that I think are really, really critical to
7 the success of SB 100 and our climate and clean energy
8 programs more generally.

9 The previous panel, I think all of the speakers
10 talked about diversity. They may not have used that
11 word, but essentially the need to balance our
12 portfolios.

13 The original RPS legislation, which Matt, Nancy
14 Radar and I, you know, let the campaign to pass. Matt
15 and Nancy were the brains and I was the loudmouth. The
16 very first finding in that legislation is the purpose of
17 the RPS was to increase the diversity of California's
18 electricity supply and that was to protect ratepayers.
19 It was also, obviously, to protect the environment.

20 But diversity is really, really critical in any
21 complex system and I would say energy is about as
22 complex a system as you could ask for. And we need to
23 keep that in mind.

24 And so, to Matt's point about we're not ready to
25 ban combustion. There may come a time when we are.

1 When we have sufficient technologies, fuel cells, others
2 that can replace combustion, but we're not there and we
3 shouldn't be foreclosing options.

4 In the case of bioenergy, I think I agree with a
5 lot of what Phoebe said. There are some very polluting
6 bioenergy facilities in the United States. And the goal
7 for the last decade has to move away from those first
8 generation, very large direct combustion facilities to
9 community scale, more advanced technologies that
10 provide far greater benefits to the grid with far fewer
11 impacts. We really need to accelerate the development
12 of those.

13 And particularly, Commissioner Randolph, under
14 the BioMAT program, we're eight years in from the
15 passage of the legislation that created it, SB 1122, and
16 we've only procured 20 percent of the megawatts, and
17 only a small handful of projects are actually online.
18 So, we've got to accelerate the next generation of
19 bioenergy which will provide far greater benefits.

20 In addition to the importance of diversity, we
21 need bioenergy for climate reasons, more than any other
22 resource. Bioenergy is the only form of electricity
23 that can reduce short-lived climate pollutants. It is
24 critical to meeting our 2030 climate goals. Nothing
25 else we do in the energy sector is going to have any

1 impact on the climate in the next decade, or five.

2 Reducing short-lived climate pollutants is the
3 only thing we can do that will make a difference right
4 away in terms of energy.

5 It's also important for our midcentury goals.
6 Lawrence Livermore National Lab released a report a few
7 weeks ago. I left you executive summaries of it. That
8 say that we can get to carbon neutrality with existing
9 technologies and very cost effectively my midcentury.
10 But to do so, we need to invest a lot more in carbon
11 negative emissions. Bioenergy is the only form of
12 electricity that can provide carbon negative emissions.

13 So, for all of these reasons we need a diverse
14 portfolio. We need to move to the cleanest possible
15 sources and we need to continue to invest in bioenergy.
16 Thank you.

17 MS. RADER: Good afternoon, Nancy Rader,
18 California Wind Energy Association. A lot of
19 interesting comments today. I want to direct to a
20 couple I just heard, and then one actually from the
21 first panel.

22 First, I just want a word of caution on Nature
23 Conservancy's recommendations. The type of screening
24 that Erica talked about resulted in the prohibition of
25 virtually all win energy in the California desert, as a

1 part of the Desert Renewable Energy Conservation Plan,
2 the DRECP. The problem is that this high level modeling
3 precludes the analyses of impacts at the site-specific
4 level. And that's very, very important not to do this
5 planning from 50,000 feet, but to actually allow the
6 evaluation of particular sites which may perfectly
7 appropriate for a wind energy project.

8 Second, I wanted to support basically everything
9 Matt said, but in particular on behind-the-meter solar.
10 And just wanted to note, Matt, I'm not sure if you're
11 aware that for this SB 100 evaluation they are -- they
12 did say earlier that BTM solar would be treated as a
13 candidate resource. Which is different from what we've
14 got on the IRP that's currently on the table, where very
15 high levels of expensive BTM solar are being baked into
16 the portfolio. So, I was very glad to hear that this
17 morning.

18 And lastly, I just wanted to put forward for
19 consideration a modeling scenario that would shed more
20 light on resource diversity and that relates to a lot of
21 the points that have been made. When we talk about
22 resource diversity, there's the diversity that results
23 from properly accounting for indirect cost and the
24 declining capacity value of a dominant technology.

25 And the proposed methodology gets at that. It

1 captures all those indirect costs and the declining
2 value of resources as they increase penetration.

3 But if that doesn't produce much of a diverse
4 portfolio, there's still the risk reduction value of
5 resource diversity. Diversity sort of for diversity's
6 sake. That addresses a number of risks, technology
7 risks, operational risks, and other risks that will
8 exist in a portfolio that's dominated by a couple of
9 technologies.

10 There's also benefits that come from some of
11 this technologies, as Julia just mentioned.

12 So, my thought is that it would be useful to
13 look at sort of an insurance premium scenario. What
14 would it cost us to get a little bit more diversity in
15 the portfolio? Or, bring up in time some of the
16 diversity that maybe shows up in 2045. But maybe we
17 start, like Delphine said, start testing some
18 technologies now that may be needed later. I think Matt
19 also touched on that.

20 So, that's different than the way we're looking
21 at it. Really, all the modeling that is being done now
22 is looking at the least cost portfolio. Least cost
23 under this assumption, least cost under that assumption.
24 But we're not looking at, gee, could we buy a little bit
25 of diversity for a relatively small premium. And I

1 would hope that maybe that would be a scenario that
2 could be looked at. Thank you.

3 COMMISSIONER MCALLISTER: Thanks Nancy.

4 MR. DAVIS: Good afternoon, Ben Davis,
5 California Solar and Storage Association. Thank you for
6 the opportunity to provide comments.

7 Distributed generation solar doesn't really plan
8 a role in the current modeling, but I wanted to provide
9 a couple reasons for why we should consider it moving
10 forward.

11 First, it is my understanding that the current
12 modeling does not link the cost of new clean power
13 production with the cost of new transmission and
14 distribution infrastructure. And as we electrify
15 buildings, and as we electrify the transportation
16 sector, which will cause loads to skyrocket, distributed
17 generation is one way to largely avoid the cost of
18 transmission and distribution infrastructure upgrades.

19 Second, in order to hit the SB 100 goals, we
20 obviously need the build out of renewables everywhere.
21 It sounds like we need three or four Yosemite's worth.
22 And in terms of solar, one advantage of rooftop solar,
23 as folks know, is that it uses the built environment and
24 does not contribute to society's footprint on our
25 natural spaces.

1 Third, this probably goes without saying, but
2 the more behind-the-meter solar and behind-the-meter
3 solar and storage we have, the less total energy needs
4 to be produced by or produced on behalf of the
5 utilities. And, therefore, the less clean energy
6 utilities need to produce. And that's important because
7 it makes it easier to hit the state's clean energy
8 goals.

9 So, forgive my layman simplification, but if
10 California's total energy needs in 2030 is 500 terawatt
11 hours, but 100 terawatt hours are behind the meter, that
12 means you'll need 60 percent of 400 terawatt hours to be
13 clean, rather than 60 percent of 500 terawatt hours to
14 be clean.

15 And then, fourth there seems to be some
16 ambiguity on what it means that renewables need to
17 supply a hundred percent of retail sales. And there's
18 some discussion, I think, on whether the clean energy
19 that we lose from line loss and from energy storage can
20 be made up with dirty energy.

21 One, this seems a little backwards. Whenever a
22 clean energy is lost, we should need to make that up
23 with clean energy.

24 And then, two, this also I think very much
25 speaks to the importance of customer sited solar because

1 with that we don't have the line loss issues.

2 Thank you.

3

4 MR. WHITE: End of the day, Commissioners. It's
5 been a good day. Lots of interesting comments. I'll
6 try to be brief.

7 I wanted to make a point, though, that was
8 mentioned earlier that the idea that somehow the SB 100
9 process is separate and distinct from the IRP. In fact,
10 the SB 100 process is building on the platform of the
11 IRP. And to the extent the IRP gets things wrong, it's
12 going to affect everything.

13 So, I want to point out that we filed our
14 comments at the PUC on the second phase there or P
15 decision in this docket. And we're going to file on a
16 proposed decision from March 12th from this docket. And
17 we hope you'll pay attention to these comments because
18 they're important in terms of where we see things
19 headed. And I don't want to commit an ex parte
20 violation. But I'll just say that one of the
21 suggestions that we made in that docket filing was the
22 lack of engagement, which you all corrected today,
23 across the different LSEs.

24 The IRP process is focused primarily on the
25 investor-owned utilities. There's some reference to the

1 CCAs, but the POU's are not involved.

2 And one of the things I'd like to see for
3 purposes of one of your next meetings is hear from all
4 the LSEs. Maybe just do Southern California and have
5 Edison, LADWP, and the Southern California Clean Power
6 Alliance, and just say what do you all see and how do
7 these things fit together.

8 Because I think as we saw in the LADWAP
9 presentation, they're going about things in a very
10 different way. They don't have RESOLVE. They have
11 scenarios. And they are looking at distribution,
12 transmission, generation, demand response and so forth
13 in a more integrated, holistic fashion than others.

14 So, I think it's important to bring the LSEs
15 together and see how these pieces might fit. Because
16 it's not just that we want to get everybody's IRP to be
17 the same, we want to see how they fit together and how
18 we can share.

19 For example, if SCE and LADWP both are pursuing
20 these same goals, there's going to be crossover that we
21 need to take account of.

22 I want to also thank Matt Freedman for raising
23 the issue of equity on behind-the-meter solar. I think
24 that one of the things we're going to have to do is to
25 reinvent net metering, time of use rates, and demand

1 response. Right. Flexible demand is a really crucial
2 thing. But time of use rates connote something
3 narrower.

4 I think one of the solutions to the solar
5 behind-the-meter dilemma is that the solar folks ought
6 to be paid for the value they create and the services
7 they provide that the grid needs.

8 Most of the -- and I'm a big fan, worked on the
9 Million Solar Roofs Initiative, and so forth. But we
10 don't have the same circumstances now that we had when
11 we started.

12 And so, for example, if you have the ability to
13 send power to the grid, when the grid needs it, you
14 should get paid. But if you're sending power to the
15 grid when the grid doesn't need it and you're getting
16 paid retail that doesn't work, okay. And that's not
17 fair to the other customers. But more importantly, it
18 doesn't send the right signal about what we want to do
19 in the future.

20 So, lastly, I think that the idea -- I want to
21 commend Commissioner Randolph for initiating a
22 proceeding on the transition for natural gas. I think
23 we need a just, equitable, orderly transition. But we
24 also need recognize at this moment we're kind of heading
25 the other way with once-through cooling and some of the

1 others things.

2 But a planning process for the transition to gas
3 is important for some of the reasons that Matt
4 mentioned. Thank you.

5 COMMISSIONER MCALLISTER: Thanks.

6 COMMISSIONER RANDOLPH: And John, just to be
7 clear, I wasn't trying to say that IRP and SB 100 were
8 separate. It's just that IRP is necessarily more
9 granular and goes up to 2030, as opposed to this sort of
10 longer-range planning exercise.

11 Because I take your point that, you know, we
12 need to be consistent and heading in the correct
13 direction either way.

14 MS. GALLARDO: We have a few more comments.
15 Next up is Kaela Shiigi. And apologies if I've
16 pronounced that incorrectly. Then, Roger Lin, and then
17 Diane from CHBC.

18 MS. SHIIGI: Hi, my name is Kaela Shiigi and I'm
19 from the UC Berkeley Environmental Law Clinic. Thank
20 you for this house today.

21 I actually have a question for our panel. How
22 do you propose accounting for or addressing the social
23 cost of carbon when planning for the future? Does
24 anyone want to go? Go ahead.

25 DR. WARA: I'll take a pass at it. You know, I

1 think that to most -- for most purposes, the social cost
2 of carbon is not incorporated into resource planning in
3 California. But, certainly what is incorporated is
4 expectations about future carbon prices within the Cap-
5 and-Trade Program, which are mostly upward. Maybe not
6 as fast as some of us would like but, nevertheless
7 trending upward.

8 And so, over time the price of carbon will
9 affect decisions, as long as we get the accounting
10 right. As long as there's no way to game the system,
11 and to sell your coal to someone else and ship hydro in,
12 in its stead.

13 MR. FREEDMAN: Yeah, I'll just emphasize that.
14 I think turning everything into a greenhouse gas metric
15 for purposes of planning is very tempting. It's like
16 one concept to rule them all. Right. One metric that
17 drives every decision. But it does motivate some pretty
18 unusual gaming strategies. Not everyone is a good actor
19 and there are ways to manufacture compliance that don't
20 look like they're the next steps forward towards the
21 total transformation of the system that we're looking
22 for.

23 So, I just want to provide some caution on
24 using greenhouse gas emissions as the single determinant
25 for planning.

1 MS. SHIIGI: If no one else has comments, thank
2 you for your time.

3 MR. LIN: Roger Lin with U.C. Berkeley and the
4 DAC Advisory Group, again. Thank you panelists for your
5 time. And this is more of a comment than a question for
6 you all. Sorry.

7 But the state's climate policy does require the
8 consideration of when we go to cost effectiveness, which
9 I agree should be at the heart of these inquiries for SB
10 100. The state's climate policy does require the state,
11 and especially ARB, who unfortunately are not here, to
12 consider the social cost of greenhouse gas emission
13 reduction strategies.

14 On that note, a common theme that's emerged
15 today is equity, which is great. But another common
16 theme on top of that is that the burden is on the equity
17 organizations or individuals to actually provide
18 suggestions on how to meet equity. And I think it
19 should be reversed and there should be some proposal
20 given to the public for us to then comment on.

21 And a good starting place, again in ARB's
22 absence, it's not first, but a good starting place would
23 be for ARB's work on the social cost of greenhouse gas
24 emission reduction strategies. The 2017 Scoping Plan
25 provided some estimates and that was subject to being

1 reworked.

2 We heard today that this -- part of this
3 proceeding is a rulemaking, and to also determine the
4 2021 scoping plan.

5 So, the Disadvantaged Communities Advisory Group
6 is looking at this issue. It's a priority issue. And
7 it would be nice to have at the next meeting of ours, or
8 a subsequent meeting or ours an update on where ARB is
9 on that question.

10 COMMISSIONER MCALLISTER: That sounds like a
11 good suggestion. I'm not sure how we carry that forward
12 but, yeah, great.

13 MS. MOSS: Hi, Diane again from CHBC. Just
14 apropos of our discussion this morning about including
15 zero carbon hydrogen as an eligible form of storage and
16 electricity generation in the implementation of SB 100,
17 I don't know if folks saw this across their emails, but
18 I did, that Senator Nancy Skinner just released SB 1122
19 today. That would clarify that the Energy Commission,
20 and the PUC, and ARB should consider green hydrogen as a
21 zero carbon emitting resources in any plans developed to
22 help California reach 100 percent zero carbon
23 electricity by 2045.

24 And her press release does call out electric
25 utilities like LADWP, which are now experimenting with

1 -- I'm just reading off her press release -- with
2 repowering existing natural gas peaker plants to operate
3 on green hydrogen instead of gas.

4 And it was really heartening to hear today that
5 there's already some willingness to consider this type
6 of application of hydrogen in SB 100 implementation.
7 And instead of, you know, just waiting for legislation
8 to spell it out as a mandate. And it's also great to
9 hear that hydrogen fuel cells are considered in the
10 capacity mix as a flexible dispatchable resource.

11 So, CHBC, of course stands ready to help, to
12 answer questions, to address concerns. All of this is
13 sort of nascent and new, and there's a lot of work on
14 plates, so I think certainly we're here to help.

15 And I'll just lastly say that there seems to be
16 broadening consensus among the last two Obama Energy
17 Secretaries, the DOE, Bloomberg New Energy Finance, it
18 just seems like there's a report every couple of weeks
19 now that points to the great potential to see cost
20 reductions, because we don't want to see just, you know,
21 overblown costs in all of this transition, of renewable
22 hydrogen in particular. And in particular electrolytic
23 hydrogen with renewable electricity can -- that
24 resource, the electrolytic hydrogen prices can also
25 fall.

1 But all of these actually do point the policies
2 are going to be necessary. So, that is something that
3 we entrust the wise people in this room to undertake as
4 their job. And like I said, we're here to help. Thank
5 you so much.

6 MS. GALLARDO: No more comments in the room.
7 I'll hand it over to Terra for phone calls.

8 MS. WEEKS: Great. It looks like we don't have
9 any comments by WebEx, so we're going to go ahead and --
10 this thing is always a little risky, but unmute all the
11 phone lines. So, we'll see if we have any comments from
12 anyone joining by phone.

13 If anyone on the phone has a comment, please go
14 ahead and speak up now.

15 Okay, hearing none, thank you all so much for
16 your comments today. I'm going to hand it back over
17 briefly to Siva for some closing remarks, and then final
18 closing statements from the dais.

19 MR. GUNDA: Thank you again for being here
20 today. And I will just kind of at a high level
21 summarize some of the next steps for us as a team here.
22 I would like to thank all the speakers and stakeholders
23 who were present here, and for Commissioners for your
24 time to helping guide this discussion.

25 I would also like to thank all the interagency

1 team who have tirelessly worked to put this together,
2 but also been working behind the scene to take all your
3 input into consideration as we develop the first report.

4 As Terra mentioned today, this is the first of
5 several reports to come over the next 25 years. And the
6 joint agency report goals at a high level, we wanted to
7 meet the statutory requirements, provide some clear
8 direction to the electricity market, coordinate planning
9 processes across the different agencies, but also
10 develop a consensus on the interpretation of the
11 statute. And all of them seem to be moving forward in
12 earnestness.

13 A huge part of meeting these goals, though, is
14 to establishing a good interagency coordination process,
15 developing a well vetted, comprehensive analytical tools
16 to which most of the commenters, the panelists, the
17 stakeholders today talked about a real need for a
18 comprehensive analytical tool that can answer a variety
19 of different questions.

20 And most importantly, the way to get to the
21 goals of our collective agencies is to really have a
22 good public discourse like today. And I would just like
23 to take a moment one more time to thank everybody for
24 being here.

25 And so, we'll continue to work on all three of

1 them. And just as we move forward, just kind of
2 reminding the spirit of the analysis we all embarked on.
3 At a high level, we would like this to be a clear
4 process that establishes a comprehensive, robust
5 analysis that stands the test of time. And as we
6 develop each report we take into account, in a timely
7 fashion, the emerging trends in the market. So, that's
8 something we're going to work on.

9 But having said that, there are some clear
10 things we are not able to do this very first report.
11 And there are huge gaps in some of the tools we have.
12 But we take into account all the different perspectives
13 that were said today, and then figure out how best to
14 approach them qualitatively this year, but definitely in
15 a more quantitative basis moving forward.

16 I also want to just touch upon a very high level
17 interaction between the demand and the supply side. So,
18 the demand scenarios that we used today or we are using
19 for the first report have been developed a couple of
20 years ago, and it's going to be consistent with what IRP
21 has done, and also what TNC has presented today, and a
22 number of other studies.

23 But it's becoming more and more clear that these
24 scenarios will rapidly change as we move forward and
25 also has a huge supply side implication. So, that's

1 something as a team we are thinking about carefully as
2 to how best to devise these scenarios on a regular
3 basis.

4 We're also going to continue to develop models
5 that can better support the resource portfolio
6 development, taking into account land use
7 considerations, but also equity and some of the main
8 questions that were brought up today.

9 It is, however, important that for -- just kind
10 of put it out there that we are working against three
11 agencies and we are trying to form an analytical
12 background and backbone that doesn't confuse different
13 proceedings, and make sure that each of the proceedings
14 plays out themselves.

15 So, it's important for us to figure out how best
16 to develop the scenarios and analysis, and put in the
17 public domain that actually advances the conversation.

18 Also want to thank TNC, LADWP, Hawaii in the
19 past, and SCE for some of the innovative work that
20 they're doing, and provide some thoughts for how best
21 for us to move forward in the future.

22 An important remark that was made by
23 Commissioner McAllister today is to just improve our
24 ability to become more accessible as we develop this
25 comprehensive analysis. We have a variety of

1 stakeholders that are really interested in this and will
2 impacted in this analysis. So, we will attempt, as we
3 are doing right now, to better make the analysis more
4 accessible.

5 To this end we had a couple of meetings with the
6 environmental justice group before this workshop to just
7 help them understand what the analytical tools are able
8 to do, and how to better articulate their questions so
9 we can do something about it in this particular cycle.
10 So, that's something that we're going to endeavor moving
11 forward.

12 And also, I just want to -- before I close, I
13 just want to make sure I acknowledge the limitations of
14 the work that we are doing in this particular report, in
15 the first one. But we'll continue to develop better
16 analysis.

17 But also, the other side of the limitation is
18 this SB 100 bill is for the electricity side. It's
19 important to make sure we cross over and interlink a
20 variety of different sectors and analyses that different
21 agencies are looking into, but we also want to make sure
22 the scope of this work is clearly defined and let the
23 other proceedings play out as they are.

24 One big part of this report is going to be
25 recommendations. And the recommendations is where we

1 would really like stakeholder engagement on. That
2 really pushes forward and sets the framework for the
3 future analysis. And also, develop recommendations
4 specifically for those to be tackled in IEPR at CEC, IRP
5 at CPUC, and the Scoping Plan that CARB is embarking on
6 right now.

7 In closing, please make sure you continue your
8 engagement. This is phenomenal. And we are all on the
9 same team, pulling together to make California's
10 transition more equitable, and as carbon free as
11 possible.

12 And just to highlight the timeline, so we have a
13 results workshop coming up late spring, and a draft
14 report coming up late summer. And the report is due
15 January 1st, 2021. And as we mentioned earlier today,
16 we might pull together a working webinar to just kind of
17 provide a kind of a status on the different scenarios we
18 might end up doing for this year.

19 With that, thank you, and I'll pass it on to the
20 dais for closing remarks.

21 COMMISSIONER MCALLISTER: Well, thanks Siva that
22 was great. You didn't rob too many of my talking
23 points.

24 But seriously, this has been a great day. I
25 want to thank all of you for coming. All the panels

1 were terrific in their own way.

2 I want to thank Commissioner Randolph for coming
3 over and visiting us from the PUC. And there's more to
4 come on this. This is going to become a routine that
5 one of our agencies or the other will be gathering
6 regularly. And certainly, my fellow Commissioners here,
7 and Chair Nichols via Rajinder. I really want to thank
8 them for coming as well.

9 A big lift is analytical. I mean I think those
10 of us who like data and, you know, a big wonkiness, this
11 is a great, you know, this is a career making endeavor.
12 We're going to be back here for the next 25 years.

13 But it also is -- it really behooves us to keep
14 it real. You know, to keep it grounded, to keep it
15 communicable, and to keep it accessible, as Siva said.
16 So, I think we have to work doubly hard to do that,
17 because it's not easy. It's very complex. It doesn't
18 have to be as complex as sometimes maybe we make it, but
19 it is inherently complex.

20 In particular, you know, I think how malleable
21 demand is going to help us solve some of these problems.
22 Because it's not just about -- the reason I asked the
23 question before was really to get viewpoints on how much
24 it can actually reduce costs. If it's just shuffling
25 money, you know, money here and there, redistributing,

1 it's not actually -- that's not the main point. The
2 main point is to reduce overall costs for everybody. If
3 we can use demand, we can be more flexible with all this
4 digitization technology we've got, storage, you know, to
5 not just mitigate the operational challenges of the new
6 grid, but also reduce costs overall and not have to
7 rebuild the whole darn thing as we go forward.

8 So, you know, it needs to reduce the cost to the
9 customer and certainly not exacerbate the equity issues.
10 I mean, I think that's really what we have to pay
11 attention to as we go forward or we're done. I mean
12 we're just not going to reach our goals and we're not
13 going to -- it's not going to be good policy. So, I
14 think that's really, you know, how to use technology and
15 automation, but serving people. I think that's really
16 the challenge we have to keep in mind for the long term.
17 And that's at all scales, right.

18 So, in any case, nothing more to add. I just
19 want to again extend my thanks to staff, and Terra,
20 fearless leader of this SB 100 effort at the staff
21 level, and from Chair Hochschild's office.

22 And all of your contributions from all the
23 agencies, and all of you in the room who've come and
24 been with us all day, I think we're going to need more
25 of that going forward. So, please, you know, just let's

1 keep at it, and let's build a good team, and let's all
2 row roughly in the same direction whenever we can.

3 Okay. And thanks a lot for everybody.

4 I think, are we adjourned or --

5 MS. WEEKS: We are adjourned.

6 COMMISSIONER MCALLISTER: All right great.

7 MS. WEEKS: Thank you so much.

8 COMMISSIONER MCALLISTER: Thanks everybody.

9 (Thereupon, the Workshop was adjourned at
10 4:29 p.m.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24


25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 20th day of March, 2020.




PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 20th day of March, 2020.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852