

DOCKETED	
Docket Number:	20-IEPR-02
Project Title:	Transportation
TN #:	233611
Document Title:	Transcript of May 20, 2020 IEPR Update Commissioner Workshop on Heavy-Duty Zero-Emission Vehicle Market Trends
Description:	Session 2
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	6/23/2020 11:37:47 AM
Docketed Date:	6/23/2020

CALIFORNIA ENERGY COMMISSION

COMMISSIONER WORKSHOP

In the Matter of:)	Docket No. 20-IEPR-02
)	
)	
2020 Integrated Energy)	REMOTE ACCESS WORKSHOP RE:
Policy Report Update)	Heavy-Duty Zero-Emission
(2020 IEPR Update))	Vehicle Market Trends
)	
_____)	

MEDIUM- AND HEAVY-DUTY ZEVS: MOVING GOODS

REMOTE

WEDNESDAY, MAY 20, 2020

2:00 P.M.

Reported by:
Martha Nelson

APPEARANCES

COMMISSIONERS (AND THEIR ADVISORS) PRESENT:

Commissioner Patricia Monahan, 2020 IEPR Update Lead
Commissioner
Chair David Hochschild
Commissioner Fran Inman, California Transportation Commission
Ben De Alba, Advisor to Commissioner Monahan

CEC STAFF PRESENT:

Heather Raitt, Assistant Executive Director, Policy
Development
RoseMary Avalos, Public Advisor

PRESENTERS:

Steve Campbell, Prologis
Sara Forni, Ceres
Alex Voets, Daimler
Angelo Logan, Moving Forward Network
Dan Priestly, Tesla
Chris Nevers, Rivian

PUBLIC COMMENT:

Tim Sasseen, Ballard Power Systems
Jaimie Levin, Center for Transportation and the Environment
Nico Bouwkamp, California Fuel Cell Partnership
Ray Pringle, Sierra Club California
David Warren, New Flyer of America
Eileen Tutt, California Electric Transportation Coalition
Diane Moss, California Hydrogen Business Council
Antonio Ruiz, Nikola Motor

INDEX

	Page
1. Introduction	4
2. Opening Remarks	5
3. Panel on Medium and Heavy-Duty ZEVs (Moving Goods)	8
4. Public Comments	76
5. Closing Remarks	93
6. Adjournment	95
Reporter's Certificate	96
Transcriber's Certificate	97

P R O C E E D I N G S

1
2 MAY 20, 2020

2:00 P.M.

3 MS. RAITT: All right. Well, it's 2 o'clock and good
4 afternoon, everybody.

5 I'm Heather Raitt. I'm the program manager for the
6 Integrated Energy Policy Report. Hopefully you all can hear
7 me.

8 Welcome to Session 2 of the 2020 IEPR Update
9 Commissioner Workshop on Heavy-Duty Zero-Emission Vehicle
10 Market Trends. I'm going to quickly go over some
11 housekeeping items.

12 Today's workshop is being held remotely, consistent
13 with Executive Orders N-25-20 and N-29-20 and the
14 recommendations from the California Department of Public
15 Health to encourage physical distancing to slow the spread of
16 COVID-19. Instructions for attending or participating in the
17 meeting were provided in the notice and included both
18 Internet and call-in options. The notice is available on the
19 Energy Commission's webpage.

20 As part of our new approach with remote access, we
21 have broken this topic into three segments over two days.
22 This afternoon's session on medium- and heavy-Duty ZEVs with
23 respect to moving goods is the second of three parts.

24 Tomorrow we will feature our third and final session
25 on heavy-duty ZEVs for moving people, and that's going to

1 start at 1:30 in the afternoon. And wanted to make sure
2 everybody notes that there are separate logins for each
3 meeting, so you're going to want to check the notice to get
4 the login for that tomorrow afternoon.

5 Also please note that we are recording this workshop
6 and a written transcript will be posted on the Energy
7 Commission's website.

8 At the end of the session, there's going to be an
9 opportunity for public comments, and if you were in the
10 morning session, we're going to do it a little differently
11 this afternoon. We are not going to be using the Q&A
12 feature. Instead, you can use the raise hand feature in Zoom
13 to let us know you have a comment and we will open your line
14 at the appropriate time. And if you're attending via
15 telephone, you can use the Star 9 function and that's going
16 to let us know, it's going to raise your hand to let us know
17 that you wanted to make comments.

18 And alternatively, the written comments are welcome
19 and are due on June 11th, and the notice gives you all the
20 information for how to provide written comments.

21 And with that, I'll turn it over to Commissioner
22 Monahan for opening remarks.

23 Thanks.

24 COMMISSIONER MONAHAN: Yes. Good afternoon,
25 everybody. As Heather said, this is our second IEPR session

1 on heavy-duty electrification and we are very excited to be
2 welcoming you all on this Zoom platform. Hoping everybody is
3 staying safe and that you, too, are learning how to navigate
4 Zoom. We're all learning how to navigate Zoom, so forgive us
5 if we make any logistical errors through, to the afternoon
6 session.

7 So as I said in the morning, I am continually
8 surprised by how many heavy-duty applications can be
9 electrified, or at least the pier can be electrified. And in
10 this afternoon session, we're really focusing on moving
11 goods. That's one thing that matters a lot, not just for
12 helping California meet its goals for climate change, but
13 also for helping clean our air. Disadvantaged communities
14 are often the ones that are burdened unfairly with excessive
15 amounts of diesel pollution, and the more we can move heavy-
16 duty goods movement towards an electrified future, the better
17 it is for communities and public health.

18 So one of the themes that is running through all of
19 our workshops are on for the IEPR transportation report is
20 equity. We really want to make sure that we are being
21 attentive to how transportation impacts disadvantaged
22 communities and to be doing all we can to remediate any
23 harmful impacts and to -- and to ensure that all communities
24 benefit as we move to a clean air transportation system.

25 So I have on me with a virtual dais -- although I

1 think they have to change the name because who even knows
2 what a dais is? I have Commissioner Inman from the
3 California Transportation Commission with me.

4 Commissioner Inman, if you want to make a few opening
5 remarks.

6 COMMISSIONER INMAN: Hi. I'm just delighted to be
7 here, fortunate to be able to listen and learn. And commend
8 the Energy Commission for the success of our morning session
9 in terms of putting it together in a new electronic venue,
10 and look forward to this afternoon and tomorrow.

11 COMMISSIONER MONAHAN: Great. Thank you.

12 Well, Heather, I think I'll just turn it back over to
13 you to start the session. I don't think there are any
14 other -- well, are there any other commissioners on the line
15 who want to introduce themselves?

16 MS. RAITT: I don't --

17 CHAIR HOCHSCHILD: This is David Hochschild. I'm on,
18 but --

19 MS. RAITT: Oh, good. That's great.

20 CHAIR HOCHSCHILD: Thank you.

21 MS. RAITT: Great. Thank you, Chair. Okay, great.

22 So we can just launch into the panel. And so it's
23 the panel on moving goods and it's being moderated by Ben De
24 Alba from the Energy Commission. And so we're going to have
25 a short -- series of short presentations from the panelists,

1 and then some Q&A from the commissioners, and then a
2 discussion, a moderated discussion led by Ben.

3 So please Ben, go ahead and start your panel.

4 Thanks.

5 MR. DE ALBA: Thanks, Heather. Again, my name is Ben
6 De Alba and I'm an advisor to Commissioner Patty Monahan, so
7 it's really a pleasure to be moderating this panel today.

8 We have a great panel lineup this afternoon and the
9 focus of the conversation will be on zero-emission medium-
10 and heavy-duty vehicles used for moving goods in California.
11 And it's particularly important to have this conversation
12 today because while the goods moving industry provides
13 significant economic benefits to the state, the externalities
14 of moving cargo, particularly on air quality
15 disproportionately impact our most vulnerable communities and
16 underscores the importance of doing this topic from an equity
17 standpoint.

18 So before I get started, I want to share a major
19 trend in the world of goods movement that I believe sheds
20 some light onto our conversation today, and that's the trend
21 toward e-commerce. The trend toward ordering goods online
22 opposed to buying them in brick and mortar retail store has
23 exponentially increased since the year 2000. And according
24 to the U.S. Census Bureau, national annual e-commerce sales
25 increased from 25 billion in 2000 to 450 billion in 2017.

1 And if we look at all retail sales during the 2008, 2010
2 great recession, overall e-commerce sales continued to
3 increase, while brick and mortar sales declined.

4 COVID-19 is having similar impacts on retail and
5 movement of goods as more and more turn to online shopping to
6 order their goods. We are already seeing this with one-hour
7 and two-hour on-demand deliveries, and the increased reliance
8 on warehousing and distribution centers to support online
9 retail. This trend toward e-commerce has an impact on
10 freight transport. With that said, the zero-emission trucks
11 of tomorrow must meet the demands of the market, and their
12 refueling times need to match duty cycle needs. And we must
13 ensure that the deployment of these vehicles is done so in a
14 way that is least impactful to our communities.

15 So I'll close this by saying that California is a
16 leader in global and domestic trade, and it's also a leader
17 in the pursuit of the carbon-free economy. So to continue
18 this leadership, we need to think about how to pair zero-
19 emission commercial vehicles with renewable energy wherever
20 possible.

21 So with that, I'm going to introduce our panelists
22 one by one, and then we'll have them kick off their short
23 presentations.

24 So we're lucky to have Steve Campbell from -- who is
25 a senior vice president with Prologis Ventures with us today.

1 We also have Sara Forni, who is a senior manager of
2 Clean Vehicles at CERES.

3 And Alex Voets, who is the e-mobility product
4 marketing and sales strategy manager of Daimler Trucks North
5 America.

6 And we have Angelo Logan, who is with the Moving
7 Forward Network, and a faculty member at Occidental College.
8 And he's also the cofounder of East Yard Communities for
9 Environmental Justice.

10 We also have Dan Priestly, who is the staff technical
11 program manager for Tesla Semi.

12 And we're joined with us by -- with Chris Nevers, who
13 is the director of environmental engineering and policy for
14 Rivian.

15 So I'm going to ask Steve to go ahead and take us
16 into the first presentation.

17 MR. CAMPBELL: Great. Hey, thanks very much, Ben,
18 for the intro and what a pleasure to be here.

19 Why don't you go ahead and move to the first slide,
20 please.

21 Ben? Okay, great.

22 As I said, what a pleasure to be here and have the
23 opportunity to give the landlord and building owners
24 perspective on the evolution of zero-emission vehicles and EV
25 policy, at which we're very much in the middle of. Prologis

1 is the world's largest owner of industrial real estate. Our
2 global portfolio consists of 965 million square feet on four
3 continents in 19 major markets. And 140 million square feet
4 of that is here in California, concentrated in the greater
5 Los Angeles area and San Francisco Bay area.

6 So Ben, you mentioned e-commerce and the growing
7 trend of e-commerce. Prologis has been a huge part and
8 tremendous beneficiary of that growth, and during the time of
9 COVID-19, a significant percentage of our customers have seen
10 massive increases in demand related to online purchasing
11 habits. So an interesting time and an interesting time to be
12 a part of growing reliance on online purchasing and
13 e-commerce.

14 So energy is topic I wanted to kind of give, and to
15 give the perspective of a building owner and a landlord. I
16 wanted to make some points related to the importance of
17 renewables and the role that they will play in the story as
18 it unfolds around the EVs.

19 Prologis currently has 215 megawatts of solar
20 operating in our portfolio, 95 megawatts of which are here in
21 California. We've got another 66 megawatts under
22 development, including seven more in California, and a
23 growing pipeline in 2021. Historically and interestingly,
24 about 80 percent of that capacity has gone straight to the
25 grid, it's in front of the meter, and only 20 percent has

1 been used to support building load. With the wider adoption
2 of EVs and the demands that puts on the grid infrastructure,
3 we expect that ratio in the coming years for us will be
4 closer to 50/50, and believe that the combination of on-site
5 generation, battery storage, robust energy data analytic
6 solutions, and access to a reliable grid-based energy source
7 is critical.

8 Now, let me ask you to move to the next slide,
9 please.

10 So this is why it's so important. This is a list of
11 some of our top global customers. We're the landlord to
12 companies like Amazon, Wal-Mart, FedEx, DHL, UPS. You can
13 see them here on this slide. And many of those same
14 companies are the ones who are making commitments and
15 pioneering the rollout of EVs for delivery, primarily, and
16 for heavier duty applications related to freight movement,
17 both on-site and off-site. And so our role as the building
18 owner and the landlord puts us right in the middle of the
19 growing requirements associated with this.

20 I listened in to this morning's panel and it really
21 came clear that the number one key gating item for EV
22 adoption is charging infrastructure. And we're currently
23 working with all of our top customers who have made
24 commitments for EV fleets for delivery in helping them build
25 out that infrastructure. At the present time here in

1 California, Oregon, and Washington, we have 15 different
2 projects underway with these customers.

3 So in addition to the customer side, we have
4 partnerships with major EV OEMs, with energy project finance
5 companies, and numerous established and emerging companies
6 who are working to facilitate the adoption of EVs for various
7 transportation needs. For us, this means infrastructure for
8 employee vehicles, forklift charging, on-site heavy-duty yard
9 vehicles, medium-duty delivery trucks and vans, all the way
10 up to Class 8 heavy-duty trucks. So it's a big focus.

11 The challenge for us is the typical load requirement
12 in a distribution building is very low. It's primarily
13 lighting load and it's 4 to 6 kilowatt hours per square foot
14 per year. With EV adoption, that number goes to over 100
15 kilowatt hours per square foot per year, and you can see the
16 amount of demand that puts on the existing electrical
17 infrastructure in areas where we own buildings.

18 We have current requirements for mega distribution
19 facilities that call for over 500 charging stations for
20 delivery vans, 300 or more chargers for employee vehicles,
21 and overhead charging canopies for heavy-duty trucks for use
22 on-site and off-site. Pulling this off really depends on an
23 incredible unique combination in cooperation between
24 regulatory officials, incentive programs, public utilities in
25 the private sector, and that's where we really view this as

1 an enormous opportunity for our sector to play an important
2 role in the rollout of the EV infrastructure needed to
3 support this.

4 So with that, I'll kick it back to you, Ben. And
5 again, very much appreciate the chance to be part of this
6 panel.

7 MR. DE ALBA: Steve, thank you very much.

8 Okay. Next up is Sara Forni of CERES. Sara, take it
9 away.

10 MS. FORNI: Great. Thank you so much, Ben.

11 And hi, everyone, my name is Sara Forni and I'm the
12 senior manager of clean vehicles at CERES. We are a
13 sustainability advocacy nonprofit based out of Boston and San
14 Francisco, and it's great to be here today.

15 Next slide.

16 CERES works with some of the largest and most
17 influential investors and companies in the world to drive
18 clean energy solutions throughout the economy and to tackle
19 some of our most pressing issues, including climate change,
20 water scarcity and pollution, and inequitable workplaces. So
21 thank you so much for the opportunity to speak to the
22 Commission today on medium- and heavy-duty fleet
23 electrification needs, and to provide a voice to the
24 companies that we represent on how California can accelerate
25 the commercial deployment of zero-emission vehicles.

1 Next slide.

2 At CERES, I lead our work on corporate fleet
3 electrification and I lead the Corporate Electric Vehicle
4 Alliance, which just launched this past January. The
5 Corporate EV Alliance is a collaborative group of companies
6 with some of the U.S. economy's largest fleets, from compact
7 cars to Class 8 heavy-duty trucks, and from industries
8 ranging from shipping, electric power, e-commerce, to
9 telecommunications. And they're all focused on accelerating
10 the transition to electric vehicles.

11 The Corporate EV Alliance, or CEVA, which is now at
12 16 members, supports companies with significant fleet
13 operations in the U.S. in making and achieving bold
14 commitments to fleet electrification. And our current
15 numbers include industry leaders like Amazon, American
16 Airlines, AT&T, DHL, Exelon, Hertz, IKEA, and JLL, and we're
17 growing every single month, which is great.

18 Our mission is to accelerate fleet electrification by
19 identifying and working to address the economic market
20 technical and policy challenges that companies often
21 encounter when transitioning to electric vehicle fleets. Our
22 priorities include focus areas like increasing vehicle model
23 availability and diversity across the U.S., ensuring vehicle
24 quality from newer original equipment manufacturers, reducing
25 high upfront vehicle costs, expanding access to and

1 availability of public charging infrastructure, and then also
2 streamlining the process of private infrastructure siting and
3 deployment.

4 Next slide.

5 As an example of one of our strategies, the Corporate
6 EV Alliance is working to loosely aggregate and signal our
7 corporate demand for specific types of electric cars and
8 trucks to OEMs in order to expand the business case for the
9 production of a more diverse array of EV models. And one of
10 the primary challenges to fleet electrification that we're
11 hearing companies are facing is the lack of commercially
12 available EV model options to meet their diverse operational
13 needs.

14 At CERES, we know that the future of transportation
15 needs to be electric and that companies, utilities,
16 regulators, and policymakers have an absolutely crucial role
17 to play in this. It's becoming increasingly clear that
18 companies both want to and need to electrify their vehicle
19 fleets. And I'm really looking forward to speaking more
20 today with you all about what it's going to take to get
21 companies where they need to be, including how companies and
22 automakers can work together to create a robust and diverse
23 EV market that benefits both stakeholder groups, as well as
24 consumers and the environment.

25 Next slide.

1 In addition, CERES released a new EV report that you
2 may have seen on May 5th, in coordination with the California
3 Trucking Association, Amazon, and Navigant, which provides
4 suggestions on how utilities and regulators can further
5 streamline and accelerate corporate fleet electrification by
6 providing reliable and affordable electricity from renewable
7 energy, simplifying processes to plan for heavy-duty EV
8 charging infrastructure installation, redesigning commercial
9 rates and demand charges, and facilitating technology
10 interoperability in the EV market, among other key takeaways.
11 There are eight in total. So I'm happy to speak more to that
12 and some of our findings later in the discussion.

13 And next and last slide.

14 We also need policies that improve the already sound
15 business case for fleet electrification and accelerate that
16 transition to electric vehicles at all levels. The proposed
17 advance being structural would significantly advance the
18 market for commercial fleet electrification. And so I
19 commend California for taking this monumental and much needed
20 step.

21 So with that, thank you again for allowing me to
22 provide that short introduction, and I'm really looking
23 forward to further discussing how we can work to streamline
24 and accelerate commercial fleet electrification and
25 infrastructure deployment with all of you today.

1 MR. DE ALBA: Sara, thank you so much.

2 Next, we have Alex, Daimler Trucks North America.

3 MR. VOETS: Hi, yeah. Thank you very much. I'm
4 trying to get my video to go, but I think you have to do it
5 centrally. Here we go.

6 So, yeah, thank you very much for having me. My name
7 is Alex Voets, I'm the sales and marketing manager for
8 Daimler Trucks North America.

9 If we go to the next slide, just a quick
10 introduction.

11 Daimler Trucks is the market leader for commercial
12 vehicles in North America. We have a variety of different
13 brands. We have the Freightliner brand, the Western Star
14 brand, Detroit. We have our Thomas Built Buses that make the
15 yellow school buses, and we also have the Fuso brand. And
16 you get a little bit of an impression here that most of these
17 brands are working on battery electric powertrains in some
18 way or form. And maybe most prominent, our CEO, middle of
19 last year announced that he believes the future is electric.

20 If we go to the next slide.

21 You can see what we really see as the main driver for
22 customers and fleets, that they want to move to battery
23 electric commercial vehicles. The first one is environmental
24 factors, then general green and sustainability goals.

25 The second is cost of ownership. So the trucks are

1 going to be much more expensive as far as purchasing them,
2 and there's also the up cost investment on charging
3 infrastructure. But once the truck's on the road and
4 running, the running costs of battery electric powertrains is
5 going to be cheaper than their -- than their combustion
6 engine counterparts.

7 And then lastly, policy and regulations. We expect
8 them to be much more in favor of zero-emission powertrains.

9 If we go to the next slide.

10 We can see what are really the most likely use cases
11 for electric trucks and Class 6 to 8 trucks. We think the
12 most logical application is dedicated and repeatable routes.
13 So anything where the truck goes out during the day on
14 anywhere between 150- and 200-mile range and comes back to
15 base for an extended period of time. For example, overnight
16 to charge because there's obviously the inherent need for
17 longer charging times, so therefore the dual time, and then a
18 specific range. So these are the use cases where we see the
19 best for fit.

20 If we go to the next slide.

21 I can expand a little bit where we as Freightliner
22 stands, as far as the timeline goes. In June of 2018 is
23 really when we started our first proof of concept to put a
24 heavy-duty truck, the eCascadia, so electrified version of
25 our Class 8 truck, and the eM2, a medium-duty fully electric

1 truck out.

2 Since then, we have delivered what we call our
3 Freightliner Electric Innovation Fleet. And you see here
4 that's a fleet of 30 vehicles, 20 eCascadias, 10 eM2s, that
5 run every day in our customers' hands. And the purpose
6 really is for our customers to get used to this and to gain
7 knowledge. But also for us to gain knowledge as we actively
8 work on our series production product.

9 We're also actively working on expanding this
10 Freightliner Electric Innovation Fleet with an additional
11 eight trucks to have more exposure for more customers with
12 that new technology. So those are two pilot projects before
13 our series production at the end of 2021 and into 2022 when
14 we will see more significant numbers.

15 If we jump to the next slide.

16 You can see, obviously, we're all passionate about
17 electric mobility, and we're all wanting to do it, you know,
18 as fast as possible, but there are reasons why it takes some
19 time to put that technology into the market. And first and
20 foremost, of course, is safety. The product needs to be safe
21 with the new technology. It also needs to be reliable and
22 both of those things take time. It takes a lot of miles, it
23 takes a lot of testing. We imply some test standards on
24 ourselves, such as submerging the batteries completely
25 underwater because we want to make sure that the safety of

1 those products is absolutely guaranteed.

2 And then also the service networks. We also need to
3 make sure that our dealer and service network is ready for
4 those trucks. If maintenance needs to be performed or if
5 anything needs to be performed on those trucks that our
6 customers need. So unfortunately, there is still some lead
7 time until we see those trucks in volume in the market, but
8 that is needed to do it right and do it safely.

9 And then we'll -- you can skip over the last slide.
10 I'll use that in the discussion. And that concludes my
11 remarks.

12 Thank you very much.

13 MR. DE ALBA: Great. Thank you, Alex.

14 Next, we'll turn it over to Angelo Logan. Angelo?
15 Angelo, you are on mute.

16 MR. LOGAN: I'm happy to participate and be on this
17 panel.

18 My name is Angelo Logan and I'm with the Moving
19 Forward Network. The Moving Forward Network is the coalition
20 of over 55 organizations, including community-based groups,
21 national environmental organizations, and academic
22 institutions in over 20 major U.S. cities, representing over
23 two million members, with a large California contingency.

24 The Moving Forward Network is committed to resolving
25 the public health harms created by our country's goods

1 movement systems by achieving environmental justice and
2 climate justice. The Moving Forward Network is led by
3 frontline communities living adjacent to goods movement
4 facilities and hubs.

5 As you all know, the goods movement system relies
6 predominantly on diesel powered equipment which produces
7 diesel exhaust made up of toxins and climate pollutants.
8 Diesel exhaust also creates CO₂, a major greenhouse gas.
9 Freight transportation worldwide contributes to approximately
10 3 billion tons of CO₂. Bicarbonate is also a result of diesel
11 exhaust. Bicarbonate is the fine particle matter in short-
12 lived climate pollutants. It has very high global warming
13 potential. Some estimate over 600 times greater than CO₂.

14 The freight transportation sector counts for roughly
15 9 percent of U.S. greenhouse gas emissions. And in the next
16 couple of decades, it is expected that ocean wind vessels
17 alone will account for about 17 percent of all man made
18 carbon dioxide emissions.

19 When it comes to goods movement, the environmental
20 and -- the environment and health impacts, environmental
21 justice communities get hit first and worst. 13 million
22 people live near major marine ports and railyards. These
23 communities are disproportionately working class, working
24 poor communities of color, and have increased health risks
25 from climate change impacts and the toxic air pollution this

1 industry is responsible for.

2 Public health studies have consistently demonstrated
3 that children and adults living in the close proximity to
4 goods movement sources have poor health outcomes, including,
5 but not limited to asthma, poor lung development and other
6 respiratory diseases, cardiovascular disease, lung cancer,
7 preterm births, and infants with low birth weight and
8 premature death. African-Americans have a higher risk of
9 health impacts from goods movement, three times the
10 proportion of the U.S., and Latinos, two times the
11 proportion. All this to say goods movement is a major
12 contributor to the climate crisis and to the local
13 environmental health impacts communities have been contending
14 with from toxic air pollution.

15 For those reasons and many more, it is imperative
16 that California transition away from fossil fuel and internal
17 combustion transportation to zero-emission vehicles. To
18 achieve the goals that are set forth, the state will need to
19 lead with a bigger vision, stronger regulatory measures, and
20 a comprehensive incentive program that will support
21 appropriate infrastructure, interface, and upfront capital
22 costs.

23 The state will need to expand its effort to build out
24 the infrastructure needed to meet the demands. The CEC
25 should expand its scope to increase collaboration and

1 coordination across state and local agencies, and should
2 consider the agencies planning and forecasting as a tool to
3 persuade investment and advancing zero-emission vehicles and
4 the infrastructure needed to support it. Our families, our
5 friends, and our communities' health and well-being depend on
6 it.

7 Thank you.

8 MR. DE ALBA: Thanks so much for that, Angelo.

9 Next we have Dan, and then followed by Chris.

10 MR. PRIESTLY: Hi there, thanks a lot. Yeah, my name
11 is Dan Priestly, and I'm the technical program manager for
12 the semi-trucks at Tesla. So I work primarily in
13 engineering, but also touch on the various production service
14 and other issues.

15 We are really excited Tesla, you know, traditionally
16 has played in the light-duty space, but we believe firmly in
17 the acceleration of -- to the world to sustainable
18 transportation and energy, and thus, we really want to make
19 electric heavy-duty trucks happen as quickly as possible.

20 A couple of years ago, we unveiled prototypes showing
21 the capability of 300-mile range on a single charge, and
22 we're also going to be releasing a variant that will do at
23 least 500 miles on a charge. We're really going after
24 operators and fleets to begin with that have centralized
25 facility operations where charging can play a strategic role.

1 And on top of that, we're really looking for fleets that can
2 leverage high utilization that others have touched on. But
3 lower operating cost is really where electrification of
4 heavy-duty can shine.

5 So we're really excited to be here today and talk
6 about it, as well as be a part of the overall industry that
7 would do safe electric going forward.

8 MR. DE ALBA: Great, Dan. Thank you, and we
9 appreciate Tesla's perspective on this topic.

10 So, Chris, we'll let you give your presentation.

11 MR. NEVERS: All right. Thanks for the introduction,
12 Ben.

13 So as you heard, my name is Chris Nevers. I work for
14 Rivian Automotive. I am their director of environmental
15 engineering and policy.

16 So at Rivian, our goal here is to make the, or keep
17 the world adventurous forever. So you might say, what does
18 that have to do with heavy-duty electrification? Well, key
19 in that statement is forever, and forever means
20 sustainability and sustainability means electrification. And
21 by the way, not just Rivian products as being electrified,
22 but all, all vehicles eventually will be electrified, we
23 believe.

24 So with that, I'll walk through what Rivian plans to
25 do. I'm sure many of you have heard of our announcements and

1 what products we plan to be selling. So first of all, our
2 business to customer products consists of a pickup and an
3 SUV, the R1S and the R1T. Both are scheduled to launch in
4 2021 calendar year, with the pickup targeted to reach a 400-
5 mile range, based on early estimates. The vehicle's not been
6 tested yet by the EPA, so it's not an official number. We do
7 have manufacturing in Illinois, so we'll be assembled here in
8 the U.S. And the engineering is across the U.S., in
9 Michigan, California, up in Oregon, Canada, and even some in
10 the U.K.

11 Next slide, please.

12 And then what we're here to talk about doing today
13 are the heavy-duty vehicles, and many of you may have seen
14 the Amazon order for 100,000 2b and 3 heavy-duty vehicles.
15 These vehicles are being jointly developed between Amazon and
16 Rivian. They're primarily last-mile delivery vehicles with
17 GVWRs of up to 14,000 pounds. And a lot of the components
18 here are going to be shared across the pickup, the SUV, and
19 the van. And to go with that, these vehicles are being
20 produced at the same facility to show some of the flexibility
21 that you will have with some of these EV platforms.

22 And with that, I think we'll leave the policy
23 discussion to the Q&A.

24 And that's all I have, Ben.

25 Thanks.

1 MR. DE ALBA: Great. Thanks, Chris.

2 And that concludes our panelist presentations. So
3 what I'll do now is I'm going to open it up for our
4 commissioners on the virtual dais to ask questions of our
5 panelists, and then we'll move in to a moderated Q&A from
6 myself.

7 COMMISSIONER MONAHAN: Yes. Thanks to the panelists.
8 That was really interesting and I do have a number of
9 questions. And, well, this would be both for Alex and Chris
10 and Dan, actually. Which is, the timeline for producing
11 electric vehicles, how are you viewing COVID-19 as impacting
12 that timeline, if at all?

13 MR. VOETS: This is Alex from Daimler. Maybe I can
14 go first. Yeah, so as I stated, the electric powertrains,
15 electric heavy-duty trucks are more expensive than
16 traditional trucks. So as far as a customer perspective
17 goes, we don't know exactly yet how this is going to play out
18 with COVID, but it is not unlikely to expect that some of the
19 focus on the customer perspective on battery electric heavy-
20 duty trucks is going to be a little further down on the
21 priority list. It is also not unlikely to expect that we'll
22 see some impact to our production timelines that currently
23 will still have to take it a little bit week by week and see
24 where it ends up.

25 MR. NEVERS: This is Chris, Commissioner Monahan. I

1 guess I'll go next. Our initial production is out far enough
2 where we don't believe COVID has yet slipped our volume
3 production at all on the Rivian Prime van. So it could --
4 I'm not saying it couldn't slip the date in the future, but
5 as of right now, it has not affected our production time on
6 our heavy-duty trucks.

7 MR. PRIESTLY: And this is Dan. We are planning to
8 start production in 2021 and moving forward with the program.
9 We're really committed to, during this time, you know,
10 finding ways to, you know, if we could add value and improve
11 products in any way possible, and working closely with our
12 customers to assess any impact. But at this point, we're
13 still targeting production in 2021.

14 COMMISSIONER MONAHAN: Thanks. I'm also curious --
15 in the morning session on port and off-road electrification,
16 we heard that infrastructure was up there as the biggest
17 barrier for transportation electrification. What would you
18 name, maybe, as the top three, three barriers that you would
19 identify as slowing the progress down?

20 MR. VOETS: This is Alex from Daimler. Maybe I can
21 go first again.

22 So one thing, as you mentioned, is infrastructure. I
23 definitely second that. We always tell our customers that
24 infrastructure is the first step to take, and that's because,
25 you know, there is lead time involved in implementing

1 charging infrastructure. And depending on the -- on the --
2 on each location what the impact is to the day-to-day
3 operation, that all needs to have long-term planning and
4 permitting and discussions with the utility companies. We as
5 the OEM help that process as well, but we definitely advise
6 our customers to work on infrastructure as soon as they, as
7 they know.

8 The second one, of course, is the funding. A lot of
9 customers are trying to utilize funding for the acceleration
10 of some of these trucks. California has a number of programs
11 in place so that is definitely good to overcome that initial
12 hurdle. So, I'll leave it at those two, probably.

13 MR. NEVERS: This is Chris. I'll just, I'll jump in.
14 I'll just echo what Alex had said. Definitely the
15 infrastructure is something you have to work with
16 immediately. With the customer, that is a barrier but a lot
17 of these early fleet deployments, they're all going to return
18 to home at night and there's a lot of really smart charging
19 solutions you can employ to address some of the issues you
20 might have with vehicles that aren't part of a fleet.

21 As far as the upfront costs, it's totally getting
22 fleet owners and operators to recognize the total cost of
23 ownership, and some of the programs in California will
24 certainly help with that, such as LCFS or perhaps even the
25 heavy-duty ZEV mandate and the sister expected fleet rule.

1 Thanks.

2 MR. CAMPBELL: And this is Steve Campbell. I'll pile
3 in there, too. From an owner's perspective, one of the --
4 really the top three barriers start with the long lead time
5 at securing sufficient capacity from utilities, and the fact
6 that a lot of that has not been coordinated. Clearly,
7 utilities typically have not designated teams or individuals
8 to support the defining and delivery on those requirements.
9 And we're finding our customers struggle with the time it
10 takes to have confidence in demand requirements in the
11 associated grade structure in order to underwrite the
12 economics for their projects.

13 MS. FORNI: Yeah, this is Sara Forni. I can also add
14 on to that. To say that, at least from a CEVA perspective,
15 one of the primary challenges to fleet electrification is the
16 lack of commercially available EV model options, like I
17 mentioned in my introduction, that can meet all of their
18 diverse operational needs.

19 So while the light-duty EV market has made a good
20 amount of progress in terms of vehicle variety, companies
21 continue to call for additional SUV and pickup options. And
22 then also in the medium- and heavy-duty market, there are
23 significant gaps that exist in the market that are limiting
24 companies' ability to transition to an all-electric fleet.

25 So we're hearing from companies that they need to see

1 a variety of options in the Class 2B pickup truck sector,
2 panel vans, step vans, box trucks, utility trucks, and
3 tractor trailers. And they also need commitments from OEMs
4 on model release timing so that they can accurately plan and
5 prepare for the future of their fleet. We're also tracking
6 technical specifications by use case and vehicle type that
7 our companies have asked for that need to be met in order for
8 them to successfully transition their vehicle fleets. And
9 then, if we have time, I can also add a few other suggestions
10 in terms of what policymakers and regulators could do to help
11 streamline the process.

12 Yes? Okay.

13 So we recently partnered with the California Trucking
14 Association, Amazon, and Navigant to interview a good amount
15 of commercial fleets, nine to be exact, in various
16 industries, about how utilities and policymakers can better
17 support and accelerate fleet electrification. And fleet
18 own -- it's important to say first that fleet owners and
19 operators and their customers, they want to be part of the
20 solution to reducing the fast growing transportation sector
21 emissions while managing costs. However, the ability to
22 achieve those goals can be accelerated by utility partners,
23 regulators, and the right policies. And so our report flags
24 eight key areas where fleet owners agree that utilities and
25 policymakers can help speed that transition to electric

1 fleets. But there are few key takeaways in particular that I
2 wanted to flag for this discussion.

3 First, companies need a streamlined process to help
4 plan for heavy-duty charging infrastructure installation, and
5 that would include a simple pathway to site assessment for
6 electrical capacity, a reliable electricity supply, and then
7 also flexible terms and requirements for charging contract
8 structures or financial agreements.

9 Second, utilities and regulators should redesign
10 commercial rates and associated demand charges. Companies
11 are looking for time variable and real-time market-based
12 rates that are aligned with rates designed for commercial
13 level demands. And they are also looking for rate options
14 without demand charges or at least with limited demand
15 charges.

16 And third, technology interoperability. Fleet
17 operators manage a wide variety of different vehicle models
18 that can include multiple competing technology standards,
19 creating unnecessary complications. So they're looking for
20 the industry to move towards standardization in
21 interoperability for both hardware and software. And they
22 want to avoid vendor lock-in, clear interoperable connection
23 standards -- they're looking for clear interoperable
24 connection standards, and they're also looking for
25 opportunities to manage smart charging across a variety of

1 software and hardware options. So I'll stop there.

2 COMMISSIONER MONAHAN: Sara, one follow-up question
3 about this. Did the CERES report focus just on battery
4 electric vehicles or with, you know, and with the suppliers,
5 with the -- I'm sorry, with the companies that you're working
6 with, are they only focused on batteries, or are they also
7 looking --

8 MS. FORNI: Uh-huh.

9 COMMISSIONER MONAHAN: -- at fuel cells?

10 MS. FORNI: We're not looking at fuel cells, it's
11 just plug-in hybrid electric vehicles and full battery
12 electric vehicles and trucks.

13 COMMISSIONER MONAHAN: Well, I should mention that we
14 do have a hydrogen and fuel cell workshop plan, so we'll be
15 covering the topics as well in another workshop. But I don't
16 want to lose sight of that because I do feel like in that
17 medium- and heavy-duty space, that's actually a place where
18 we're not sure if batteries can meet every single use case.
19 And so there's still, I think, a lot of room for fuel cells
20 to play an important role in the medium- and heavy-duty
21 space.

22 So my last question -- I've been dominating, I'm
23 sorry, but this is my last one, I promise, which is I'm
24 curious about how companies and manufacturers are thinking
25 about vehicle grid integration question. And -- and if, you

1 know, for -- they're going to be a benefit to all electricity
2 users from electric vehicles, we have to make sure that
3 vehicles are being charged at the right times of day, and so
4 that they can help integrate renewables and provide important
5 grid services. And I'm curious about how you all are
6 thinking about this question of vehicle grid integration.

7 MR. CAMPBELL: So this is Steve Campbell. I'll take
8 that first.

9 I don't think it can be thought of in silos. We
10 really believe that for this to scale, there needs to be a
11 deep and thoughtful pattern that combines renewables with
12 grid restorage. And as Sara mentioned, there needs to be a
13 clear definition on the utilities side of rate structures
14 that acknowledge that the time sensitivity often requires
15 charging to be done during peak demand times.

16 So we view it all as something that needs to be
17 viewed holistically and not siloed.

18 MR. PRIESTLY: This is Dan from Tesla.

19 Just to add on to that, I think that on the holistic
20 front, you know, it's not just -- it's beyond the grid
21 itself, and it has to do with the operations of trucking
22 companies. And, you know, one thing that plays a huge factor
23 in how truck companies operate is traffic. And
24 unfortunately, you know, often, if you're going to drive when
25 there's a little traffic, then you're going to be charging

1 during peak demand periods, just as mentioned earlier.

2 And so when we talk about holistic, it's really at a
3 very, you know, broad level. You know, ultimately I think
4 when we talk about the really tight integration potential
5 between vehicles and the grid, you know, ultimately that's a
6 problem that is worth considering, but it pales in
7 comparison, or at least on the near-term time horizon to be,
8 what I think utilities need to be doing and looking at the
9 grid capability, and that is total long-term demands. As we
10 believe that public cost of ownership of owning and operating
11 electric vehicles is substantially less than that of diesel
12 in the long run, it will result in a significant desire from
13 the market to adopt electrification very quickly.

14 As soon as the economic threshold pass, like I said,
15 it makes sense to operate in an electric capacity, we're
16 going to see a new really fast and high demand to deploy
17 infrastructure, deploy trucks, and use them. And thus, that
18 demand in total electricity is really quite substantial and
19 needs to be considered. And I think that's going to play
20 more of an immediate and an impactful role on how utilities
21 set up their plans and their vehicle to grid tight
22 integration.

23 MR. VOETS: This is Alex from Daimler again.

24 I'll echo as well that vehicle to grid communication
25 is very important, integration. Especially, depending on the

1 use case. So school buses have a use case where they operate
2 at certain hours of the day and they park for the remaining
3 remainder of the day. So even more so important here that
4 standardization is given. Like Sara pointed out, there
5 shouldn't be a market entrance barrier for different
6 proprietary charge plugs or any proprietary communication
7 protocol. So given that, Daimler's also part of the CharIN
8 initiative that tries to commonize a charge plug-in across
9 all commercial vehicles in the future. So that's definitely
10 not something where we want to create any hard barriers.

11 COMMISSIONER MONAHAN: Commissioner Inman or any
12 other commissioners on the line, do you have questions?

13 COMMISSIONER INMAN: I think I've unmuted everything.
14 Can you hear me?

15 COMMISSIONER MONAHAN: Yes.

16 COMMISSIONER INMAN: Great. Great. No, I just, I
17 really enjoyed them and I think we're hearing some
18 similarities with this morning. Particular, I think Steve
19 and Sara, and talking about some of the policies that we
20 have, some of the rates that we have, you know, we heard this
21 morning from our Class 1 railroads about the need to make
22 sure that we have affordable and reliable source.

23 And so I think there's, what we're hearing is a lot
24 of work we have to collectively do, I think, to figure out
25 how that will all work, and you know, and it's obviously, in

1 my opinion, going to be a combination of all of the resources
2 coming together. But we do have, you know, some of our time-
3 of-use rates were written with different objectives in mind,
4 I think. And we've got, at least on the heavy-duty side, and
5 most of them medium-duty side as well, 24/7 demands.

6 And so I think, and as I mentioned this morning, you
7 know, we've seen through the COVID-19 that these were deemed
8 essential. So I think just making sure that we have that
9 reliable, efficient source for everyone. So appreciate
10 hearing it.

11 And Sara, I'd like -- like to see your report.

12 MS. FORNI: I'll make sure I send that over to you.
13 Thank you.

14 MR. DE ALBA: Okay. Any other questions from the
15 commissioners? Hearing none.

16 I'll go ahead and take over the Q&A from here. We've
17 covered a lot already. But there are still some topics we
18 can get into.

19 And I want to bring Angelo into this conversation and
20 ask you, Angelo, what can public and private entities do to
21 ensure heavy-duty electrification supports the state's goals
22 of improving equity and quality of life in disadvantaged
23 communities?

24 MR. LOGAN: Well, thank you, Ben. And I really
25 appreciate the effort to really look at this through an

1 equity lens and really address the issues that communities
2 are contending with.

3 As you all know, in and around goods movement
4 facilities, some of the most disadvantaged communities
5 reside. And so we really need to consider what the both
6 intentional and unintentional consequences are for our
7 communities who are living adjacent to those facilities.
8 Also, in a lot of cases, working in those facilities. So
9 it's a double whammy.

10 I think it's really important for the -- both
11 agencies as well as private entities to think about how they
12 invest first in these communities because you get both the
13 positive impact of doing the right thing, cleaning the air,
14 addressing the climate crisis, addressing the very localized
15 health impacts. But then you also help to secure a healthier
16 workforce and, you know, as a kind of multiplier, increase
17 economic opportunity in and around those facilities.

18 So really focusing and then concentrating, you know,
19 collaborating together to first identify those communities
20 that are -- that need the most attention and uplift those
21 communities.

22 MR. DE ALBA: Are there any particular examples where
23 we're doing that well currently, Angelo?

24 And feel free, the rest of the panel, if you have any
25 help in this topic, please jump in.

1 MR. LOGAN: Well, I think, you know, the Ports of
2 L.A. and Long Beach are a good example of where there's a lot
3 of attention that has been put into the efforts. But that,
4 you know, that takes a number of different strategies. It's
5 not just a good faith effort from industries and agencies.
6 It's really about coupling both really strong regulations and
7 mandates with incentive programs. So we need to continue to
8 couple those together so that we can advance the work, and
9 truly address those in the most impacted neighborhoods.

10 I'd like to identify one particular project that I
11 think needs real attention. I think there's a huge
12 opportunity both for the private sector, as well as the local
13 utilities and local agencies. And that's the I-710 Freeway,
14 which is the heaviest truck traveled freeway in the country,
15 as I understand it. It is the, the main artery from the
16 Ports of L.A. and Long Beach to the major railyards in East
17 Los Angeles and out to the warehouses in the Inland Valleys.

18 And, you know, that is -- that particular project is
19 under consideration for expansion and there's a real effort,
20 at least a concern, a consideration to make sure that freight
21 corridor is a zero-emission freight corridor. But, as we all
22 mentioned earlier today is that the infrastructure to support
23 a zero-emission freight corridor is a real challenge. So how
24 do we come together with private and the public to ensure
25 that the freight corridor along that 20-mile stretch and

1 beyond is really viable and it's really going to be a
2 reality? So it's really bringing in the utilities, bringing
3 in agencies to make sure that then the private entity can
4 come in and plug in fine.

5 MR. DE ALBA: Thank you very much, Angelo.

6 So this question I'll throw out to the whole panel,
7 and so feel free to jump in. But I'll ask Alex to chime in
8 first.

9 Most of your organizations are national, but you also
10 operate globally. So what lessons can be learned from your
11 heavy-duty electrification experiences outside of California,
12 and what can you share with those on this panel today?

13 MR. VOETS: Yes, thank you very much. Actually, I
14 can comment on that. Yeah, we're operating everywhere in the
15 United States and in North America, but also globally. And I
16 think when we have the focus on the United States, California
17 is definitely spearheading a lot of the ideas and a lot of
18 the thoughts that we see for electrification plans and
19 general sustainability goals, when it comes to operating
20 zero-emission vehicles, when it comes to the incentive
21 programs that we see.

22 When we look to Europe, of course, you sometimes see
23 similar -- similar thought, leadership. But in general, I
24 think looking locally here, most states look to California as
25 kind of a -- as kind of a pioneer in that area. So when it

1 comes to incentives and policies to drive these, they're
2 definitely in a good position.

3 I do want to point out, though, that even though
4 we're trying to measure the availability of the zero-emission
5 vehicles oftentimes by the announced set of production dates,
6 we also need to consider the volumes that are available. So
7 even though a set of production dates are somewhere in the
8 next couple years here, what volume is really available needs
9 to be taken in consideration when we think about putting
10 mandates in place.

11 MR. CAMPBELL: So Ben, I can comment. We have an
12 expansive global footprint, and I'm also heavily involved on
13 the innovation side of Prologis with the investments that we
14 make through our Corporate Venture Fund.

15 And there's a tremendous amount of innovation being
16 done in this area, both outside of California, across the
17 U.S., but we're seeing it in China where there's been an
18 awful lot of standardization that has allowed for an
19 acceleration of the charging infrastructure to meet various
20 fleet requirements. That's been beneficial.

21 And in Europe, there's been a lot of work done by a
22 variety of different entities, focusing on subsidizing,
23 particularly in the UK, subsidizing the cost of EV
24 infrastructure by bundling it with other services, like 5G
25 expansion, network expansion, and things like that. So a lot

1 of great thought out there, much of it obviously is here in
2 California that has been driving innovation. But we see
3 quite a bit elsewhere.

4 MS. FORNI: Great. And I'll just echo somewhat what
5 other panelists have said that, you know, California
6 absolutely is the leader among states on this issue from your
7 utility programs to fleet pilot programs to port operations.
8 This is really where lessons are being learned. So we want
9 to see more programs, policies, and initiatives like you have
10 in California in other states.

11 And to achieve that end, we're hoping that California
12 will coordinate with neighboring states and also other states
13 across the country to ensure the expansion of the market,
14 since we are all in this together. You know, many commercial
15 freight carriers don't operate within one state but across
16 regions instead, so it makes cross-state charging
17 infrastructure along freight corridors essential, and that
18 coordination essential.

19 Our companies need states to work together to really
20 accelerate the deployment of charging infrastructure along
21 those corridors that meet the needs of medium- and heavy-duty
22 electric truck fleets.

23 And I'll just add on to that that I'm not sure -- I'm
24 not located in California, so I don't know detailed
25 information right now about the HVIP incentive program, et

1 cetera, but I think it's extremely important that all
2 incentive programs that are offered in California also don't
3 include scrappage requirements. That's been flagged by many
4 of our seasoned members as an issue for them across the U.S.

5 MR. LOGAN: If I can also add, just to the point that
6 California really is a leader. And I think that one of the,
7 of the states outside of California are really wanting
8 California to take a strong stand on advancing zero-emissions
9 to set the standard so that they're not starting at an uneven
10 pace and making sure that there's consistency across states.

11 We know that organizations like NESCAUM, which are
12 made up of a number of air quality agencies in the northeast,
13 have weighed in, communicating with California to have a
14 strong zero-emission standard, as well as effort or
15 communication between governors with a effort of signing MOUs
16 and committing to advance in zero-emissions.

17 So collaboration I think is really important across
18 states, but for sure California is the leader and will set
19 the tone, and I'd say that's important.

20 MR. NEVERS: This is Chris. I'd like to second what
21 Angelo just said, but also add that as we look at the fleet
22 portion of whatever comes out of the Advanced Clean Truck
23 Rule that states, look at that, and that the requirements and
24 to what extent possible the carded opportunities start at the
25 same time for both the OEM portion and the fleet portion.

1 One reason is that these early battery electric
2 vehicles, battery electric trucks are going to be high
3 demand, and it might be difficult for some manufacturers to
4 make sure they get to those areas that want them the most
5 with just the heavy-duty ZEV program. You can imagine those
6 states are looking to implement a heavy-duty ZEV program or a
7 fleet rule also probably have, likely have, the cleanest
8 grids and they have the most need for criteria reductions as
9 well. So we really think those tools have to be joined at
10 the hip, as you will.

11 COMMISSIONER MONAHAN: Ben, can I ask a quick follow-
12 up question to Sara?

13 MR. DE ALBA: You may.

14 COMMISSIONER MONAHAN: Sara, you said something that
15 just made me, my curious -- which is that you, your companies
16 recommend that we do not have scrappage programs? Can you
17 just give a little more information about that?

18 MS. FORNI: Yeah. That you do not put in place
19 scrappage requirements for any financial incentive you have
20 available. Because a lot of incentives across the U.S. right
21 now have scrappage requirements in place, including how
22 states are using some of the VW funds, in that they're only
23 able to replace a certain model year of truck of a certain
24 fuel type, primarily diesel with an electric vehicle or a
25 cleaner truck. So they would like to option to switch out a

1 newer diesel vehicle for a clean or electric vehicle
2 regardless of its model year.

3 MR. VOETS: This is Alex from Daimler. I would like
4 to second that because the Volkswagen specifically requires,
5 I think, 2012 or older models. So effectively, somebody who
6 already very proactively switched out trucks to a more
7 efficient newer diesel truck would be disqualified from that
8 program. So I definitely second that, that it's not in the
9 purpose of the incentive.

10 COMMISSIONER MONAHAN: But just to clarify, there's a
11 distinction between scrappage and the age requirement. Are
12 you saying that it's the age requirement that is of issue or
13 is it the requirement to scrap a vehicle, and when you're
14 swapping it out for a -- an electric vehicle?

15 MR. VOETS: I specifically talked about the age
16 restriction. Usually our customers do have trucks to swap
17 out, but they might not have a truck that's old enough to
18 qualify to swap out.

19 MS. FORNI: Yes, I agree with Alex. It's the age
20 requirement.

21 Thank you for clarifying, Patty.

22 MR. LOGAN: If I could just weigh in on the scrapping
23 conversation. You know, from an environmental justice and
24 equity perspective, especially within the goods movement
25 sector, we know especially within drayage trucks that when

1 there is a swap or, you know, basically, you know, the goods
2 movement sector is where trucks go to die. There are -- we
3 see the shift of dirty trucks to and around goods movement
4 facilities where they're drayage or servicing rail or ports
5 and we've seen across -- not necessarily in California, but
6 we've seen across the states where the trucks that were
7 swapped out for cleaner trucks in California, EJ communities
8 in other states have seen an influx of those trucks in their
9 communities.

10 So, you know, we're shifting the problem into
11 something that we really need to take into consideration and
12 take seriously.

13 MR. DE ALBA: Just to add on to this topic, the -- do
14 any of you have insights on how a scrappage requirement might
15 impact, say, an owner operator as opposed to a major fleet?
16 Any insights there?

17 MS. FORNI: Yeah, I can add that at least for CEVA
18 members, a few of our members contract vehicles with the
19 small owner operators, with the smaller commercial motor
20 freight carriers, and a lot of those carriers have been
21 having issues getting newer cleaner electric trucks because
22 of the age requirements alongside scrappage incentives. And
23 so they're -- the companies themselves, they're trying to
24 support the carriers in figuring out ways to design
25 applications in order to still claim those incentive programs

1 or work with the state to tweak those incentive programs so
2 they would be able to claim the incentive.

3 MR. DE ALBA: All right. Commissioner, any other
4 follow up on this topic?

5 I can read your lips, and I think you said thank you.

6 COMMISSIONER MONAHAN: Oh, yeah, yeah, I did. Thank
7 you. Sorry, I forgot to unmute.

8 MR. DE ALBA: No problem. Great.

9 So I want to change this in to a bit of conversation
10 around connecting the zero-emission vehicles to -- zero-
11 emission commercial vehicles specifically to renewable
12 energy. I think Tesla -- Dan, from Tesla agreed that we
13 might hit this point where adoption becomes rampant and we --
14 and these vehicles are deployed rather fast and we need to
15 plan for that alone.

16 And as the state continues to pursue its carbon free
17 goals of a carbon free or carbon neutral economy by 2045,
18 we're relying more and more on renewable energy sources.

19 What can -- what should we be doing to plan for the -
20 - this mass adoption of battery, electric, and in some cases
21 the fuel cell electric vehicle, commercial vehicle?

22 MR. PRIESTLY: Yeah, I mean, I'll kick things off a
23 little bit. My comment specifically was that, you know, the
24 fundamental -- I think that there's a lot of forecast things
25 that the utilities need to be doing in terms of their long-

1 term demand. And it's difficult to look in the last 20 years
2 for any relative data in some ways because the problem is the
3 light duty market penetration of electric vehicles is not
4 going to match what we see in the heavy-duty side because
5 light-duty customers tend to buy vehicles based on it's an
6 emotional purchase. You know, it's -- there is a replacement
7 cycle but it's driven by significantly different factors than
8 what we see in the commercial phase.

9 And on the heavy-duty side, it's really striking
10 about how much energy that we actually use to move goods
11 around. You know, at the end of the day, these vehicles
12 consume a lot of fuel because they have -- they're very
13 heavy, they travel a lot of miles, and those miles are
14 generally high speed because they're predominantly highway
15 driven. And so when you couple that all that together, the
16 amount of fuel we're talking about offsetting is quite
17 astounding.

18 And so with that, I want the utilities to understand
19 and start to look at it just from a raw energy throughput
20 based on as you start converting trucks over, what that means
21 in terms of total electrical consumption and demand. Because
22 the total cost of ownership for electric is, you know,
23 substantially cheaper and as volumes increase and costs come
24 down, we're going to reach a tipping point where the vast
25 majority of trucking cases, whether it is, you know,

1 regional, long haul, intercity delivery, you know,
2 agricultural work, it doesn't really matter. There is a
3 tipping point where all of a sudden the vast majority of use
4 cases, it is economically beneficial to going electric.

5 And so once you hit that period, your demand
6 essentially runs to virtually infinite, you know, over a
7 period of time where we're going through this adoption phase.
8 And so your market penetration ramp is going to look way
9 different in terms of total percentage of vehicles are
10 electric in the heavy-duty phase compared to that of the
11 light-duty phase.

12 And so with that we just need to encourage all the
13 players to really work that out, the increase demand and
14 electrical generation requirements that come with the
15 shifting over a large percent of the truck fleet as quickly
16 as possible.

17 MR. VOETS: Yeah, this is Alex from Daimler.

18 You're absolutely right that there is going to be a
19 significant increase in the demand for electrification and
20 specifically coming from companies that traditionally do not
21 have that high demand. So we're actively in discussions and
22 corroboration with different utility companies around the
23 United States for them to understand and identify what demand
24 they are potentially looking at based on the battery sizes,
25 based on the charging use cases so that we can, you know,

1 plan and work on this together. But I don't think it's
2 unattainable, it's just a matter of having the right
3 conversations and planning these things out.

4 And then of course the entire EV ability and
5 electric transportation that's obviously only going to be as
6 green as the grid that produces electricity. So of course
7 the cleaner the grid, the cleaner the overall transportation
8 solution as well.

9 MR. PRIESTLY: Yeah, and I also want to expand
10 slightly on that in that, you know, when we talk about these
11 sites and, you know, working with utilities, at the end of
12 the day a lot of these projects, you know, yes, they're in
13 megawatts and the numbers get really big really fast. But
14 these numbers are not impossible, they're absolutely
15 attainable.

16 You know, a truck size with a lot of trucks is going
17 to be in the tens of megawatts charging power needed. And
18 that is something that might found, again, you know, quite
19 large and there will be challenges for sure. But those are
20 on the order of, you know, large factories and other
21 industrial operations that utilities are used to steeling up
22 for.

23 The difference here is that it's just going to happen
24 in a very concentrated area and the demands for all that is
25 going to go up pretty substantially very quickly. And so

1 it's not that the numbers are impossible, it's just that both
2 need to plan out in ways to bite it off in, you know,
3 concrete chunks and be able to move quickly and set up the
4 right internal procedures and equipment, you know, covering
5 processes, expansion plans, et cetera, so that, you know, a
6 higher rate of deployment can -- can be achieved.

7 MR. CAMPBELL: I'll add to that and I agree with all
8 that.

9 In our perspective, utilities really need to
10 streamline the processes for interconnection and the
11 operation of multiple technologies that ensure a reliable and
12 a portable supply of power. And that's going to look like
13 rooftop solar. It will include battery storage, robust
14 entering data analytical solutions and reliable and
15 predictable power from the grid.

16 And that is where we think the challenge is. There
17 needs to be a very thoughtful roadmap put in place to help
18 prepare for that anticipated demand that both Alex and Dan
19 referred to. If you look at fleet scaling, really within the
20 next three to five years, the demand curve gets incredible.
21 And I'm not sure there's been enough foundational thought put
22 in to preparing for that.

23 MR. DE ALBA: Great. Thank you.

24 So this kind of follows on to that topic. Getting,
25 and Sara, this is a finding in your report about access to

1 renewable energy. And as we can ramp up and scale, how are
2 the truckers going to get access to this renewable energy?
3 When I think of the trucking industry and the interaction
4 between the deliveries of the first and last mile, I mean, a
5 trucker can go from one warehouse to a retail brick and
6 mortar and the typical ICE trucks today are maybe stopping or
7 refueling in between or they're refueling at a depot behind
8 the fence on that.

9 But how does that look for a zero-emission battery
10 electric truck? Is it -- are they going to have to rely on a
11 Prologis warehouse to plug in and charge or should there be
12 public access to these truckers that is outside of a
13 warehouse or outside behind the fence line?

14 I didn't know if you're findings from the report,
15 Sara, have any insights on this topic of access.

16 MS. FORNI: Actually, I feel like Prologis, Steve
17 might be the best person to answer that question about how
18 you would handle renewable energy off-site -- outside of the
19 depot.

20 MR. CAMPBELL: So let the turkey run. I mean,
21 honestly to -- to the issue of demand and how you -- how you
22 provide that, it goes to the utility side of this as well.
23 For on-site generation, we happen to have the rooftop real
24 estate to beat that for on-site consumption. But for off-
25 site charging in more of a distributed network, the greening

1 of that component to something that's going to take very
2 thoughtful planning on the part of the utilities to meet that
3 demand. And it is -- the numbers that we have seen are
4 significant in order to provide sufficient capacity to a
5 distributed network of charging.

6 COMMISSIONER MONAHAN: Ben, I just keep chiming in
7 because I'm so curious about all the comments that are being
8 made.

9 So I'm wondering, Dan, your perspective which is
10 pretty optimistic in terms of the fact that we'll reach a
11 tipping point. And my understanding is we'll reach a tipping
12 point pretty soon. I mean, maybe you could give us a sense
13 for the time horizon you think a tipping point will be at
14 where basically the choice will be clear that electric
15 vehicles are cheaper on a TCO basis and the investment should
16 happen and flow that way.

17 And -- and yet we're also seeing, you know, the only
18 big announcement so far in terms of \$100,000 is the Amazon
19 Rivian one. And anything else seems to be coming a little
20 bit more in dribs and drabs.

21 And I just wonder, you know, is there any indication
22 that you are all having from conversations that large-scale
23 investments will be flowing that will give us more optimism
24 about that near-term future?

25 MR. PRIESTLY: Yeah, absolutely. I think that there

1 will be a huge demand. And maybe why we're not seeing, you
2 know, publically relief numbers, you know, that would be
3 observed, you know, high percentages of the trucks that are
4 on the road is because, you know, these are businesses where
5 their, you know, bread and butter, their livelihood is
6 dependent upon having a reliable known working operation.

7 And so the customers want to evaluate performance and
8 so once they have a chance to put vehicles in their fleet at
9 a volume they consider reasonable enough to get learning from
10 but not so risky as if to, you know, put all their chips in
11 one basket -- all eggs in one basket, then what they'll do is
12 validate, you know, go through a trial period, they go
13 through a pilot learning phase and upon reaching a point of
14 satisfaction, then they'll say, okay, now we're ready to go
15 in with a significantly larger order with the divider to
16 really turn over their fleet as quickly as possible.

17 I mean, within reason, you're still going to see, you
18 know, normal fleet turnover time and, you know, depreciation
19 as they, you know, would to a certain degree but the -- it
20 might accelerate slightly because, you know, these companies
21 small or large, at the end of the day, they want to reduce
22 their cost and try to run more efficiently. And they believe
23 that after evaluating the performance of the vehicle, that
24 they can do that, they're going to significantly ramp up and
25 we're going to see, you know, much larger orders and

1 percentage of the market shift towards electric.

2 And I agree that it's going to happen, you know, in
3 relatively short time horizon. You know, but really what
4 we're going to need is vehicles into pilot hands, and I think
5 a number of the fleets that are (indiscernible) around here
6 today, talked a little bit about that. And once that happens
7 and the customers are comfortable to transition a larger
8 percentage of their fleet over, they will.

9 MR. VOETS: This is Alex from Daimler.

10 I would say as long as the interest is high, it's a
11 new technology. Technology customers are going to learn
12 about it and understand the technology. It's also important
13 to understand that on a heavy-duty truck scale, there's no
14 order of 100,000. An order of 100 or 200 trucks is a big
15 order in heavy-duty trucks.

16 But understanding the economics, understanding how it
17 impacts the day-to-day business, understanding how maybe
18 dwell time and charging time and all the other things that we
19 discussed, installing the infrastructure, how that impacts
20 the business is very important. Because for trucks,
21 obviously if something doesn't work or if a time doesn't work
22 out, that's not an inconvenience, that's a loss in business.
23 So a lot of customers will start with smaller orders, get
24 comfortable, and then really scale out.

25 What we always recommend, though, is that even though

1 you start with a small order, you think about the five- and
2 ten-year plan because if you dig up concrete ones and you put
3 in charging infrastructure ones, you better do it so that you
4 are ready to put in five and ten times as many later.

5 So I think it's just a question of time and a little
6 bit of a ramp up and scaling probe. And then we also talked
7 about incentive and ATRIB and some of the other funding
8 opportunities, this is also a field that takes some time to
9 navigate and every incentive is a little bit different. So
10 really putting the orders in of a hundred of thousands
11 trucks, it's just not as easy as it is on the -- on the
12 smaller vehicles.

13 MR. CAMPBELL: Go ahead a real quick comment on that.

14 MS. FORNI: There's some things --

15 Go ahead, Steve.

16 MR. CAMPBELL: Yeah. Just amongst our customers, our
17 major customers who have particularly delivery fleets.
18 There's a huge amount of discussion happening right now about
19 preparing for that.

20 And so in new building deliveries, we're actually
21 installing conduit so that we can easily electrify those
22 buildings and so as customers start to expand and make
23 commitments to electrify their fleets. So there's a lot of
24 talk out there and I think -- I think it's coming more
25 quickly than any of us think, even though the orders have not

1 materialized fully or have been talked about. We're hearing
2 about preparations being made by major customers who are
3 preparing to electrify delivery fleets.

4 MR. DE ALBA: All right. Sara, go ahead and respond
5 and then I want to let Commissioner Inman jump in as well.

6 MS. FORNI: Absolutely. Thank you.

7 I will say that companies need the EV market to reach
8 the point of maturity where there are EV iterative for most
9 of the favorite conventional options being used commercially
10 today. And companies need to see those vehicles available
11 across the U.S.

12 I will say that many or some companies want to pilot
13 a small number of several different model options or at least
14 be able to compare them before they make a significant
15 capital investment. So again pointing back to the need for
16 more variety in terms of the different model options
17 available for each use case and vehicle type would be really
18 helpful for companies.

19 MR. NEVERS: Ben, if I may before you hand it over.

20 MR. DE ALBA: Sure.

21 MR. NEVERS: I would note that we are talking about
22 total cost of ownership. And yes, there are different use
23 profiles, obviously, depending on the segment and how the
24 vehicle's being used. But at the same time, some of the
25 larger fleets certainly don't want to be a disadvantage. And

1 I think if you see one or two large movers adopt
2 electrification and it's a significant total cost of
3 ownership benefit, then you could see as Dan has suggested
4 earlier, you could see a tipping point where no one wants to
5 miss out or be at a competitive disadvantage.

6 Thanks.

7 MR. DE ALBA: Commissioner Inman, do you have your
8 virtual hand raised?

9 COMMISSIONER INMAN: I do. And here's my other hand.
10 Yeah. Hopefully you can hear me.

11 No, love this discussion. And I was thinking about
12 tomorrow and the session tomorrow we'll deal with our transit
13 operators, I believe, and they've been on somewhat of a
14 parallel journey, perhaps a little further down the road in
15 some instances.

16 So I'd love to have the discussion we've had with
17 some of those organizations as well because I've heard, you
18 know, some of the challenges in terms of the utility and
19 getting, you know, the timing and everything lined up there
20 too. So we might learn from each other by you all listening
21 in to that and then we can circle back and have a good
22 discussion by what else we can learn from some of our other
23 transportation partners. Clearly, you know, the heavy-duty
24 and medium-duty trucking sectors. A little different but
25 there are also some similarities, I think, with our other

1 mobility partners.

2 MR. DE ALBA: Absolutely. That's a great point.
3 Transit sector seems to be a little bit of a head start on
4 some of those appointments of the zero-emission vehicles. So
5 hopefully tomorrow can open, lend some insights into that.

6 Actually, on that point and sort of drawing from
7 other sectors, the light duty clearly advanced quickly in
8 deploying the zero-emission vehicles, battery, electric and
9 fuel cell.

10 I mean, they've -- is there any lessons that we can
11 learn from the light-duty sector as we think about rolling
12 out some of these heavy duty vehicles? I guess thinking in
13 terms of charging infrastructure networks, charging at the
14 depot. Any thoughts on that?

15 MR. CAMPBELL: This is --

16 MS. FORNI: Yeah, this is Sara from CERES. Sorry,
17 Steve.

18 MR. CAMPBELL: No, go ahead. You go ahead.

19 MS. FORNI: Okay. Great.

20 I know the state that I think that a lot of lessons
21 can be learned for, you know, how -- from how quickly the
22 light-duty market took off with the help and support of
23 incentive at the federal and state level. So we absolutely
24 need to see more demand side incentives available for medium-
25 and heavy-duty vehicle purchases. And absolutely I

1 acknowledge that this is a really challenging time right now
2 in terms of budget constraints due to COVID-19.

3 However, despite the challenges, it's really
4 essential that California prioritize funding that would
5 support the decarbonation -- decarbonization of
6 transportation sector. And so we need incentives to reduce
7 the upfront cost of medium- and heavy-duty EVs and charging
8 infrastructure as well as increased fees and polluting
9 internal combustion engine vehicles. And those price signals
10 are going to be really essential for moving the market.

11 And there needs to also be a candid discussion about
12 ensuring that funding continues to flow to incentivize the
13 transformation and accurately price the cost of more
14 polluting technology.

15 MR. DE ALBA: Steve, did you want to jump in? And I
16 see Alex also.

17 MR. CAMPBELL: So -- great points, Sara. And I just
18 wanted to add, some of the lessons we're seeing that are
19 coming quickly in the medium- and heavy-duty side is the need
20 for high capacity fast charging. And -- because a lot of
21 these fleets on the medium-duty side have very quickly turn
22 cycles. And -- and I think have a different load requirement
23 that is going to fundamentally change an awful lot of how we
24 think about preparing for the rollout of these fleets.

25 So that's my only comment. I think it's a

1 transformation from a slow off-peak charging environment to a
2 much faster fast charge and sometimes peak charging
3 environment.

4 MR. VOETS: And yes, from my side. Alex from
5 Daimler.

6 I guess some of the things we can learn from the --
7 from the passenger car market is I think that adoption occurs
8 and incentives above and beyond the -- just the financial
9 incentives. So in California we have a couple of lanes that
10 can be utilized by electric cars. If we think about heavy-
11 duty trucks and the Port of L.A., Port of Long Beach, if we
12 think about, you know, like a virtual queue so electric
13 trucks can actually charge instead of inching forward on
14 the -- on the I-710 or have a front of the line pass, those
15 are incentives that would be kind of the equivalent to the
16 carpools had on the electric passenger car.

17 So I think some other things we can -- we can learn
18 from adoption on electric cars.

19 MR. DE ALBA: Yeah, that's a point Angelo I believe
20 was making earlier about I-710 project and the call to make
21 that an electric corridor.

22 Okay. I want to shift gears a little bit because we
23 are in reality in medium- and heavy-duty zero-emission sector
24 is still relatively early. We are demoing these vehicles
25 today and the Energy Commission actually is partnering with

1 the Air Resources Board to do another drayage truck
2 demonstration.

3 What needs to happen to really pull us out of this
4 pilot and demo mode? Again, I kind of really get to the not
5 only incentives but any other thoughts or perspectives on
6 where should we be focusing our investments next?

7 MS. FORNI: This is Sara from CERES.

8 You know, I think that the Advanced Clean Truck Rule
9 will really help to drive forward the goals of companies and
10 help to move beyond this one pilot per each fleet right now
11 in that, you know, it's going to open up more of a wide range
12 of vehicles for companies to look at and consider and
13 compare, and also increase confidence of EV technology as a
14 whole with more EVs on the road being tested and piloted by
15 companies. More best practices and lessons learned will come
16 out of the whole process.

17 So ultimately the rule will help reduce upfront cost
18 also by helping manufacturers reach economies of scale by the
19 increased demand.

20 So I again commend you for the fantastic proposed
21 rule and I think it's going to do a lot of good for
22 California and for the rest of the country.

23 MR. PRIESTLY: Yeah. And this is Dan, definitely add
24 on to that. You know the Advanced Clean Truck Rule provides,
25 you know, some -- a few key things in that one is that it is

1 flexible in that there is a wide variety of you state in the
2 beginning how you say it. And while, you know, drayage is a
3 key part of the phase, there are a lot of other places where
4 customer use and the use cases are wide. And it means that
5 having, you know, flexible policies is important. They can
6 serve a variety of different applications and different
7 customer types.

8 And on top of that, the other thing that's nice about
9 the Advanced Clean Truck Rule is that it's relatively
10 predictable which is another key point and that's actually
11 one area where HVIP has struggled due to the funding
12 concerns. But having very predictable policies and
13 incentives is really great from a customer side to know.
14 Because as we talked about, you know, these things take time
15 to line up. You've got truck replacement cycles, you have to
16 line up infrastructure. And so being able to have to
17 something that can fit your operation regardless of what of
18 it is but on top of it also be predictable in something that
19 you know is something that's going to exist and that you can
20 benefit from is really key.

21 And we -- I really believe that there's opportunity
22 for in a heavy-duty phase, you know, in a lot of the
23 operations that run high mileage for critical route to start
24 with because, you know, that's where you're consuming a lot
25 of fuel. You know, again, high miles every day, high speed,

1 that's where you're going to make a significant impact on the
2 environmental output of these trucks. At the end of the day,
3 trucks make up about 3 or 4 percent of the vehicles on the
4 road but it accounts for 30 to 40 percent of the emissions.

5 And so we can go after the areas where there's a
6 large amount of fuel being consumed, largely due to, you
7 know, high power, high speed, high mileage applications.
8 Those are going to resolve in, you know, having the greatest
9 environmental impact for vehicle phases.

10 So having a flexible type of incentive and programs
11 that, you know, folks can go after and use in those
12 environments is going to be beneficial for everybody.

13 MR. LOGAN: Yeah, I think specifically related to the
14 drayage fleets or drayage trucks, we really have to think
15 about strategies and going beyond the pilot projects and into
16 large-scale deployment. Think (indiscernible) specifically
17 with very specific routes and short trips, I think there's
18 real great opportunity to think about strategize --
19 strategies and incentive programs for mass deployment at a
20 larger scale rather than us getting stuck in pilot.

21 MR. VOETS: This is Alex from Daimler.

22 I think there is two aspects. One to stimulate the
23 supply and one is to stimulate the demand. I think on the
24 demand side, we already see the incentives, we see the easing
25 up EV rates, making charging more predictable, having

1 incentive programs also on the infrastructure side. So I
2 think we have a lot of good things going on there.

3 On the supply side, like I said earlier already,
4 there is a number of different OEMs, including us, that have
5 announced their set of production date for the battery
6 electric trucks. But what needs to be clear and clearly
7 aligned when we talk about the act mandate and the kind of
8 goals is that they're realistic with the supply that's
9 actually available in the market. Because like I outlined,
10 those cars needed to be safe, they need to be reliable, and
11 they need to have service in the field to obtain -- attain to
12 them.

13 So those things take time and unfortunately, it's not
14 a matter of, you know, snapping your finger and turning
15 everything over to electric. So we need to make sure on the
16 supply side that the goals are aligned with what the industry
17 can provide.

18 MR. DE ALBA: Thanks for that.

19 Okay. Terrific insights. I want to make sure we
20 touch on local barriers to deployment. So if we were talking
21 to local leadership and policymakers, what will we -- what
22 would be some low hanging fruit that we can anticipate could
23 possibly be a challenge or a barrier to adoption of medium-
24 and heavy-duty zero-emission vehicles?

25 And I want to share an anecdotal story that we've

1 heard a local noise ordinance. And I spoke to some of you
2 before the panel about this. The traditional diesel truck is
3 loud and therefore there's been some ordinances put in place
4 that prevent sort of nighttime deliveries because -- because
5 of the noise. But one of the benefits of a zero-emission
6 truck is that it's quiet. But those trucks may not be able
7 to shift their delivery times to night so it would be more
8 efficient and there's less traffic.

9 Are there other examples that we should be looking at
10 on a local level that could be barriers to adoption?

11 Angelo, I think you're on mute on Zoom.

12 MR. LOGAN: There we go.

13 MR. DE ALBA: Go ahead, we can hear you.

14 MR. LOGAN: Yeah. I was going to -- I was going to
15 mention that in a lot of cities when we're going through the
16 approval process of development specifically properties that
17 have some ownership or jurisdiction within the city,
18 boundaries that the entitlements are I think are really great
19 opportunities current include in requirements for events and
20 zero-emissions through, you know, air emission reduction
21 goals and other goals like the ones you mention where there's
22 a noise ordinance or idling ordinance and/or, you know,
23 included in the entitlements for developments.

24 So there's some opportunities there but I think the
25 willingness or the political will of the local jurisdiction

1 needs to be there. And sometimes that's not just the local
2 pressure but also a signal from -- from, you know the state
3 that the infrastructure is going to be available and the, you
4 know, the energy supply will be available so, you know, there
5 isn't as many barriers or as many concerns in putting in
6 those types of requirements in the development agreements.

7 So I think that, again, it goes back to the
8 coordination and corroboration. A lot of times local
9 jurisdictions look towards leadership of the state leaders
10 and agencies to really inform them of where we are and it's a
11 good time and place to have to make well-informed decisions.

12 MR. DE ALBA: Thanks, Angelo.

13 Any other -- any others want to share insights?

14 All right. I want to change it back to a bit of the
15 trucking, and maybe this is good for OEMs on the panel.

16 What are your, you know, if you go to sell your
17 clients a zero-emission truck or when you're prepared to go
18 to do that, what are some of the questions you get from them
19 or what are some of the challenges they might have with
20 infrastructure and charging.

21 And I know we've kind of beat around this but not
22 everybody is going to have a warehouse and it's going to be a
23 different need between a small-time operator and a major
24 fleet operator.

25 MR. VOETS: Maybe I could shed some light on this.

1 So I guess from a vehicle perspective, the questions
2 that would always come are regarding the power and some of
3 the payload that electric powertrain has. And quite honestly
4 those are oftentimes a little bit biases maybe like we saw
5 with electric passenger cars in the beginning where people
6 thought of an electric car cannot be as powerful as a
7 combustion engine. But the reality is electric powertrains
8 have a carburetor, instant torque, and instant acceleration.
9 So the power of those vehicles is definitely not a concern at
10 all. And usually those concerns diminish once we put them
11 behind the wheel and we let them drive -- drive the vehicle.

12 The second question is always would be -- with the
13 charge time. And I guess also sometimes the confusion that
14 you have with the different chargers that are available on
15 the market and the different charge powers and having to
16 really understand kilowatts and kilowatt hours and how they
17 all play together. But comparably small problem to overcome,
18 it just takes that initial education.

19 And then the third one is really the necessity for
20 kind of a longer time -- longer term planning. Steve was
21 talking about the -- putting in 5 chargers or 10 or 20 down
22 the road. So really having -- having maybe a small project
23 right now but planning out for the longer term future.

24 So it just requires the thinking to be a little bit
25 more focused on the entire ecosystem with charging and

1 training, with infrastructure and everything, availability of
2 incentives as opposed to just having to focus on the trucks
3 as it has been traditionally.

4 So those are usually the questions that will come in
5 the beginning when people get acquainted with those trucks.

6 MR. PRIESTLY: Yeah, this Dan from Tesla.

7 And we get some more questions. But I think that
8 some of the other ones that do come on the list a little bit.
9 When we talk about charging is that we really, you know,
10 haven't seen a very clear desire to have, you know, high
11 speed quick turn charging for fleets to enable slip seating
12 operations or drivers get back on the road quickly. And so,
13 you know, the charge rate, you know, whether that, you know,
14 an operation can do an off shift, an overnight file charging
15 or one that needs a very high speed charging. And we're
16 targeting teams of, you know, recovering 400 miles in 30
17 minutes, end up being only get back on the road very quickly
18 is something that our --

19 MR. DE ABLA: Dan, I think we lost you.

20 MR. PRIESTLY: Yeah, can hear me? Yeah, no I happen
21 to -- yeah, I got a phone call at the same time.

22 But, yeah, we have -- we've definitely seen a desire
23 from our customers to be able to, you know, flat in while
24 you're talking to as many applications in their fleet as
25 possible. So by having fast charging along with, you know,

1 high range capabilities, we spent a lot of time talking
2 about, you know, how they enable as many routes as possible
3 with greater range and higher charging speeds.

4 And, you know they definitely see a lot of benefits,
5 both in terms of how those actions table their operation,
6 again, about total cost of ownership.

7 And then they also ask a lot about like what are some
8 of the additional benefits that electrification can bring?
9 You know, you don't have to have an idling truck in the same
10 capacity. And, you know, that means that the better,
11 healthier environment for the drivers as well as the workers,
12 they're working in the yard and around the vehicle. And, you
13 know, that is something that we've seen time and time again
14 is, you know, have been positively received by customers,
15 including the drivers, and even in some cases, you know,
16 their families and whatnot.

17 We've had times where we've done various, you know,
18 show events with companies and the spouses of drivers that
19 wanted their drivers into electric vehicles because it's set
20 up to be a, you know, safer, cleaner, better environment.
21 You know, more integration and whatnot.

22 So, you know, those are some of the ancillary
23 benefits that our customers see by going toward
24 electrification rather than just, you know, using a
25 traditional diesel vehicle.

1 MR. NEVERS: Ben, I would add that what we're seeing
2 from potential fleet customers is -- is questions around
3 making sure they have the entire scope or landscape, if you
4 will, of all the different incentives that are available.
5 Not just the state level but maybe right down to the local
6 level. Not just for the electric truck itself but for
7 charging or, you know, back up charging or even vehicle to
8 grid, just making sure they have everything in front of them,
9 make a decision. Sometimes it's difficult when you hop from
10 locale to locale.

11 MR. DE ALBA: All right, everybody, thank you.

12 MR. VOETS: I have one thing. One thing, too, that
13 comes up regularly is the service and warranty. A lot of
14 customers will have experience for decades with the bigger
15 trucks that they own today and a lot of customers will make
16 their own repairs or service or maintenance on those trucks.
17 So understanding how much they can do with the electric high
18 voltage systems is also a point of interest that we'll hear
19 regularly.

20 MS. FORNI: This is Sara from CERES.

21 I'll just add one more thing with regard to the lack
22 of standards and interoperability. With regard to charging,
23 our members are also looking into and looking for guidance on
24 ADA standards for EV charging in private fleets specifically.
25 It's my understanding that there are not guidelines currently

1 for that. That's something that our companies would like to
2 see.

3 MR. PRIESTLY: Just a comment on standards topic, you
4 know. And Tesla, as well as Daimler, many other folks that
5 are involved in a working group across the heavy-duty and
6 medium-duty phase including OEMs and customers as well as
7 even EVOC makers and standards, body of representatives that
8 are working on an interface to solve for the entire power
9 application.

10 And so, you know, the landscape has really changed a
11 lot in the last decade. You know, where we've ended up with
12 some highlanding on the light-duty side and lack of, you
13 know, interoperability. And now that we have sufficient light-
14 duty vehicles out there, there's a real desire to not do that
15 on the heavy-duty side and end up with a more common
16 connector sight and interface that is compatible such that
17 heavy-duty vehicles from a variety of OEMs can visit a
18 variety sights with a variety of EVOC makers and everything
19 just works together.

20 So those conversations are happening and hopefully
21 there will be, you know, news about some of the directions
22 things are headed in the near future. But I am confident
23 that we're going down a good path and that should be
24 something that most of the fleets should not have to worry
25 about going forward.

1 MR. DE ALBA: All right, everybody, thank you for
2 that. It's hard to believe that we've already been having
3 this conversation for about an hour and 45 minutes now.

4 So I think we're going to transition to the public
5 comment. But before we do that, I want to give everybody a
6 chance, maybe take 30 seconds and any final remarks you want
7 to make.

8 How about we'll start with Sara because you're on the
9 left of my screen.

10 MS. FORNI: I do not have any final remarks prepared
11 but I'll -- I'll just say it again, you know, that we're --
12 we're absolutely looking for all EV stakeholders to play a
13 role in the future of corporate for electrification as we do
14 need to accelerate and accelerate quickly in order to stay
15 within a 1.5 degree C scenario to, you know, escape the worst
16 impacts of climate change.

17 So really hoping that, you know, we'll see more
18 utilities and policymakers around the country step up as
19 California has and shown great leadership in facilitating
20 this transition. So thank you all so much for inviting me
21 here today and I look forward to seeing what's next.

22 MR. DE ALBA: Thank you, Sara.

23 Steve?

24 MR. CAMPBELL: Yeah. Just on behalf of Prologis and
25 everyone else, I wanted to thank you for the opportunity to

1 be a part of this and we look forward to playing a role in
2 helping to expand the electrification of fleets throughout
3 North America.

4 Thank you.

5 MR. DE ALBA: Angelo.

6 MR. LOGAN: Yes, I want to echo Sara's statement that
7 both to address the climate crisis as well as address the
8 impacts that environmental justice communities have been
9 facing around goods movement facilities and hubs. Now is the
10 time for all hands on deck. Take this as an urgent matter
11 and really coordinate, corroborate across different agencies
12 and local governments.

13 Thank you.

14 MR. DE ALBA: Dan?

15 MR. PRIESTLY: Yeah. Thanks. I really appreciate
16 being included in this and, you know, it's an opportunity to
17 really discuss how a chance to make a real impact on the
18 world.

19 You know, at the end of the day, Tesla is here to
20 here to help accelerate the world towards sustainable
21 transportation and energy that are particularly in the heavy-
22 duty transportation phase.

23 You know, it serves this whole B side of the economy
24 that most people as they drive down the road they just have,
25 you know, invisible. Despite the fact there's the biggest

1 thing, there's these giant boxes, most people just drive
2 right by them. What they just don't understand all the time
3 is that, you know, we're planning out ways to get cleaner and
4 also feed into the total cost of ownership mindset of the
5 operators.

6 You know, as we make things cleaner and cheaper for
7 the operators, that means that the -- all the goods,
8 everybody's transportation just got cheaper, just got
9 cleaner. And so this is how, you know, civilization
10 improves. This is how everybody saves money and people get
11 wealthier is that, you know, we make incremental improvements
12 day in and day out. And, you know, this step in electrifying
13 transportation particularly in the medium- and heavy-duty
14 phase can go a long way towards impacting a lot of people
15 very beneficially. And looking forward to making it happen
16 as quickly as we can and being part of the solution.

17 MR. DE ALBA: Thank you.

18 And we'll go with Alex and then Chris.

19 MR. VOETS: Yes. Also for me thank you for having
20 us. I think we came very clear that vehicle electrification
21 is a very big topic, it requires a lot of stakeholders and
22 it's great to see the collaboration and different people on
23 the panel echoing similar messages. It's definitely an
24 exciting time to be in trucking and with Daimler, definitely
25 happy to do our part here.

1 MR. NEVERS: All right. And like to say this on
2 behalf of Rivian, thanks for having us as part of this
3 workshop and we hope to stay involved here and in other
4 workshops as we do deliver tens of thousands of these 2Bs and
5 3 heavy-duty vehicles over the next -- starting two years out
6 over the next few years after that.

7 Thanks.

8 MS. RAITT: All right. Ben, thank you so much for
9 moderating that panel. And thank you so very much for the
10 panelists for your time and your expertise, it's really
11 helpful.

12 We'll go on to the public comments portion of this.
13 And so it looks like we already have some hands up. But just
14 as a reminder, if you do want to make public comments -- or
15 comments now, you can use the -- in the Zoom platform,
16 there's a raise hand feature, you just raise that to let us
17 know and we will call on you and open up your line.

18 And if you change your mind, you can always also just
19 use that raise hand feature to un-raise your hand.

20 And then if you're on the phone and you wanted to
21 make a comment, you press Star 9 and that will raise your
22 hand to let us know that you want to comment.

23 So with that, Rosemary Avalos from the Energy
24 Commission's Public Advisor's Office is going to help conduct
25 the public comment period for us.

1 So thank you, Rosemary. Go ahead.

2 MS. AVALOS: Hi. Hello, everyone.

3 Our first call-in folks using the raise hand feature
4 on Zoom, please state your name and affiliation for the
5 record. Also spell your first and last name after you are
6 unmuted and before commenting.

7 So going forward, I'd like to call on Tim Sasseen.

8 You may need to unmute on your end. Hello, Tim, you
9 may be able to unmute on your end. Okay. Tim, your line is
10 open.

11 MR. SASSEEN: Hello. Anyone, anyone? Yes?

12 MS. AVALOS: Tim.

13 MR. SASSEEN: Can you hear me?

14 MS. AVALOS: Go ahead and make your comment. Yes.

15 MR. SASSEEN: Wonderful. Okay. Thank you.

16 This is Tim Sasseen with Ballard Power Systems.

17 T-I-M; S-A-double S, double E-N. I'm the market developer
18 manager for California.

19 Thank you again for this very enlightening session.

20 The infrastructure concerns expressed by Prologis are
21 well appreciated at California's transit agencies who are at
22 present conducting detailed analyses on conversion of their
23 heavy-duty bus fleets to zero-emissions. While demo fleets
24 of a few buses do not require major electrical upgrades, the
25 large fleets of 50 or more buses are finding that hydrogen

1 provides a far lower infrastructure cost in grid charging and
2 offers intrinsic energy storage, gas refueling, and
3 resilience against grid outages.

4 Infrastructure can be grown modularly as fleets
5 expand and without lengthy and expensive utility studies and
6 public works projects and are uncoupled to the activities of
7 your neighbors.

8 Active and expanding fleets such as those in Orange
9 County, Oakland, and the Palm Desert show these costs dropped
10 to a third or less at scale than grid charging, especially
11 when looking at very large fleets of 200 vehicles or more and
12 require no operational changes from those of diesel or CNG
13 refueling.

14 Truck fleets are likely to find the same advantages
15 in supporting hydrogen freight transport fleets with larger
16 trucks consuming twice the energy or more per day as buses,
17 as Tesla so eloquently described, and having operational
18 schedules that require fixed fueling and maintenance windows.

19 Liquid and gas zero-emission fuels have the advantage
20 of supply diversity and a competitive marketplace for
21 infrastructure as well as fuel supply.

22 As building owners look towards their long-lived
23 assets and supplying infrastructure within them, hydrogen
24 allows flexibility as energy mixes change and electrical grid
25 demands rapidly increase.

1 The truism that transit is discovery is 100 percent
2 applicable to trucking fleets. The larger the fleet, the
3 better hydrogen works.

4 I'd also like to address scrappage. Regarding
5 scrappage, it will take several years for zero-emission
6 trucks to make some significant changes in overall statewide
7 emissions, though it will happen soon. In the meantime,
8 incentive -- incentives and grants serve well for
9 demonstration in market transformation. Scrappage in this
10 context could actually be quite wasteful. And so a
11 significant numbers of zero-emission trucks are on the road
12 despite older dirtier trucks which will also happen
13 coincidentally as costs lower below the needs for incentives.

14 Thank you.

15 MS. AVALOS: Okay. Thank you, Tim.

16 Moving on to Jaimie Levin. Just a reminder, please
17 state your name and affiliation for the record. And also
18 spell your first name and last name after you are unmuted.

19 MR. LEVIN: Yes.

20 MS. AVALOS: Go ahead, Jaimie.

21 MR. LEVIN: Thank you. It's Jaimie Levin, spelled
22 J-A-I-M-I-E; Levin, L-E-V-I-N. I'm the director of our West
23 Coast operations for the Center for Transportation and the
24 Environment in Berkeley.

25 CTE is involved now in a number of battery electric

1 and fuel cell electric zero-emission projects for marine
2 cargo equipment and Class 6 to 8 sized vehicles.

3 And as we observed in this question of
4 commercialization and moving that needle forward, we've
5 observed some issues that are very relevant to the end users,
6 the truck drivers and the fleet operators that have to be
7 addressed.

8 Obviously cost is a big factor. But performance
9 issues encompass a number of different factors. One is
10 range, the other is payload. When you look at a Class 8
11 truck -- drayage truck operation, they may have to pull as
12 much as 82,000 pounds gross vehicle weight. This was
13 mentioned by others during the panel session about multiple
14 shifts being able to turn vehicles quickly in order to do two
15 8-hour shifts or more. And then addressing multiple duty
16 cycles.

17 It's kind of the one size fits all concept. If you
18 look at drayage operation, it's not just near port
19 activities. Especially with independent truckers, they may
20 need to be able to handle various duty cycles. And so
21 looking at vehicles that could perform to those standards is
22 absolutely critical in order to achieve our commercialization
23 objectives.

24 As we've experienced both fuel cell and battery
25 technologies, we see clear advantages with fuel cell electric

1 drive technologies in each of those categories that I've
2 mentioned. And so I do have a question to the panel.
3 Several have mentioned that they've focused or most of their
4 discussions have really been focused on battery electric, why
5 fuel cell electric would not at least be considered in
6 portfolio options? And I think very specific to Daimler --
7 or to Freightliner, last year we heard the CEO of
8 Freightliner committed to a battery electric heavy-duty
9 technologies. But recently, Daimler and Volvo announced
10 their commitment to fuel cell electric drivetrains for heavy
11 duty.

12 So if there's a chance to give a response to that
13 question, I'd appreciate it.

14 Thank you very much.

15 MS. AVALOS: Okay. Thank you, Mr. Levin.

16 And going on to Nico Bouwkamp, your line is open.

17 Just a minute. Okay, your line is open, sir.

18 MR. BOUWKAMP: Can you hear me?

19 MS. AVALOS: Yes.

20 MR. BOUWKAMP: Okay. Here we go.

21 So my name is Nico Bouwkamp; N-I-C-O;
22 B-O-U-W-K-A-M-P. I'm a technical program manager at the
23 California Fuel Cell Partnership.

24 I thank you for this opportunity to comment. And I
25 also appreciate CEC's continued participation in our

1 organization. We really appreciate their input as a partner
2 of our organization.

3 In the IEPR update context, I'd like to submit a few
4 comments. One thing that has not been discussed and it'd be
5 nice to see it as a consideration as well is that even though
6 Advanced Clean Truck Rule is being put in place is that there
7 is some concern with regards to what vehicles get replaced.
8 I understand the perspective of large fleets that are
9 typically in the forefront of adopting new -- new vehicles
10 but the majority of the fleet that operates on the road is --
11 are smaller fleets. Often one -- one or two men shops that
12 are not -- do not have the luxury of adopting new vehicles,
13 especially not at the cost that is expected for zero-emission
14 trucks, via the fuel cell and battery electric trucks. So
15 the oldest trucks may not get replaced which is obviously not
16 is an immediate benefit for the surrounding communities and
17 for the emission reduction.

18 And as I also referred to both zero-emission vehicles
19 are fuel cell vehicles and battery electric vehicles, and I
20 appreciate the comment made by Commissioner Monahan about
21 acknowledging the fact that's both vehicle technologies.

22 What also appears is that the charging infrastructure
23 is challenging for both charging as well as for hydrogen fast
24 fueling. But in this case, it appears that heavy-duty
25 hydrogen infrastructure can deliver a very well and has

1 delivered for transit. And this actually also appears to
2 medium- and light-duty.

3 One question to ask and I heard some reference to it
4 but it would be great if there could be some more explanation
5 and that is I could start as a fueling connector
6 standardization. The hope is that the market will not move
7 forward like the light-duty market has under the separation
8 of standards.

9 Fueling time is an important aspect. Are we moving
10 forward conventional with significant adjustments for
11 logistics of companies? Fueling infrastructure, the majority
12 of the fleets are small -- small -- small companies. In that
13 regards, it would also be good to hear on the medium-duty
14 side of things from Daimler about that fuel cell products
15 both on the battery electric truck side of things as well as
16 the fuel cell truck.

17 I heard a comment made about payload. This is an
18 important part with regards to new technology. And one thing
19 about fuel cell electricity as a truck fuel, that
20 concurrently not be guaranteed to be renewable at the nozzle
21 contrary to hydrogen which is required to have new renewable
22 content at the nozzle.

23 So thank you for this opportunity and we're looking
24 forward to submitting comments to the IEPR update.

25 Thank you.

1 MS. AVALOS: Thank you.

2 Next in queue is Ray Pingle. Okay.

3 MR. PINGLE: Hi, can you hear --

4 MS. AVALOS: Your line is open.

5 MR. PINGLE: Can you hear me?

6 MS. AVALOS: Yes. Yes.

7 MR. PINGLE: Hi, so this is Ray Pingle with Sierra
8 Club California. It's Ray, R-A-Y; Pingle, P, as in Paul,
9 I-N-G-L-E.

10 I first wanted to answer Commissioner Monahan's
11 question a little further in terms of, you know, why haven't
12 we seen as many large orders for trucks? And I would say the
13 primary reason is because there's not that many products out
14 there in quantity yet. Although there is tremendous
15 activity. All the OEMs, Daimler, Volvo, Rivian, Tesla, and
16 many others have made announcements to go into serial
17 production within the next two years. So there will be a ton
18 of vehicles out there.

19 And as soon as they're available, we believe that
20 there'll be some pretty rapid uptake, primarily because of a
21 positive total cost of ownership. There have been several
22 studies done, total cost of ownership studies done on medium-
23 and heavy-duty trucks within the last year. And they're all
24 showing neutral to positive total cost of ownerships in many
25 applications as soon as now using conservative assumptions.

1 So we think there will be quite a rapid uptake once the
2 vehicles are available.

3 I wanted to talk about -- briefly about
4 infrastructure. And the biggest program with infrastructure
5 is the gap between reality and expectations. I think too
6 many truck owners and purchasers think that it'll take a
7 short amount of time and it doesn't. It can take six months
8 or nine months or a year to get that infrastructure. So one
9 is just understanding the time and planning the time.

10 However having said that, it takes longer than it
11 needs to take. And we had the same situation with solar
12 panels, installing solar panels on rooftops 12 years ago
13 where the PUC and the utilities were all geared around
14 dealing with large 500 megawatt natural gas plants instead of
15 these smaller systems.

16 So a lot of things can happen to speed up this
17 process, many things are underway. One is and the governor's
18 scope is division for zero-emission vehicles, one of their
19 priorities is working with counties and cities to accelerate
20 the permitting process.

21 Another thing that needs to happen and the PUC has
22 listed this as something that needs to be done is working
23 with the investor on the utilities for them to speed up their
24 engineering processes.

25 And one last comment on this is I think it behooves

1 the PUC working with utilities to have them do advanced
2 planning. We know that warehouses are going to need charging
3 infrastructure, ports are going to need charging
4 infrastructure, airports are going to need it so they should
5 begin right now doing some proactive planning to upgrade the
6 grids to meet these needs.

7 I think this has been a great session and thank you
8 very much for the opportunity to comment.

9 MS. AVALOS: Thank you, Mr. Pingle.

10 The next in line, David Warren.

11 MR. WARREN: Thank you. The hope --

12 MS. AVALOS: Your line is open.

13 MR. WARREN: Okay. Yes, can you hear me?

14 MS. AVALOS: Yes.

15 MR. WARREN: Okay. David Warren, New Flyer of
16 America. D-A-V-I-D; W-A-R-R-E-N. I'm the director of
17 sustainable transportation for our company. We're the
18 largest independent and global manufacturer of transit buses
19 and coaches in the world and have a strong presence in
20 California.

21 Very thankful for the California Energy Commission
22 for your efforts on the infrastructure. I do want to visit
23 one comment that was made earlier in the session regarding
24 charging standards. As the manufacturer of transit buses and
25 coaches, we work extremely hard to make certain that our

1 buses and coaches charge off of the same infrastructure as
2 consumer vehicles as well as trucks. So we've participated
3 with the Electric Power Research Institute, otherwise known
4 as EPRI and other organizations such as CharIN and such and
5 Society of Automotive Engineers to make sure that our buses
6 use the exact same infrastructure, whether it's battery
7 electric and/or fuel cell electric bus type applications.

8 So we will participate tomorrow in tomorrow's session
9 where more discussion will be on transit. But I do want you
10 to know that the comments from Tim at Ballard, Jaimie, Nico
11 regarding fuel cell electric buses as well. We are doing
12 everything possible to make sure that we have an
13 infrastructure system that can support multiple types of
14 vehicles and interoperable to anybody's equipment.

15 Thank you.

16 MS. AVALOS: Thank you, Mr. Warren.

17 Next, Eileen Tutt.

18 MS. TUTT: Hi.

19 MS. AVALOS: Your line is open now.

20 MS. TUTT: Hi, thank you.

21 MS. AVALOS: Hi.

22 MS. TUTT: This is Eileen, E-I-L-E-E-N; Tutt,
23 T-U-T-T, from the California Electric Transportation
24 Coalition.

25 Again, I thought this afternoon's discussion was

1 very, very interesting. I thought it was much more diverse
2 in terms of the challenges than this morning.

3 I do want to say that I was a little -- I'm a little
4 troubled by the kind of suggestion that electric vehicles are
5 not sufficient to meet the market for medium- and heavy-duty
6 vehicles. I think one thing that we can -- sort of another
7 thing we can translate from the light-duty experience to
8 medium- and heavy-duty, and Tesla kind of alluded to this.
9 Is the -- is the rate of progress and the reduction of cost
10 of batteries have been way beyond what anyone expected. And
11 as a result, the vehicles are less expensive and the
12 technology is more attractive.

13 And you can end -- the cars that are coming out, the
14 third and fourth, and now almost fifth generation battery
15 electric vehicles that are coming out have much higher
16 ranges. And we heard from Rivian, they're talking about a
17 400-mile range. Tesla is talking about a 450-mile range. I
18 mean, these are -- these are not -- and that's Gen 1
19 vehicles. Gen 1 on the light-duty side was not that --
20 didn't have that kind of range. And now we're saying ranges
21 that are two to three to four times higher than when the
22 original came out.

23 And so I think that will translate to the medium- and
24 heavy-duty side. Maybe not to the degree, but it will
25 translate in terms of the range of these battery and the duty

1 cycles that they can meet will continue to advance.

2 So I just wanted to say that because I do -- I'm a
3 little troubled by this notion that battery electric vehicles
4 are somehow inferior. I don't think that's true, I don't
5 think it's been true on the light-duty side and I don't think
6 it's true on the medium- and heavy-duty side. However, I
7 will caveat by saying that CalETC has long supported both
8 technology types and believes that both will be a solution
9 for our future. So anyway, I just wanted to point that out.

10 I also just want to make one statement about
11 infrastructure again and that is that I want just to keep in
12 mind that the biggest cost for infrastructure on the battery
13 electric side is already in place and that is our grid. And
14 Commissioner Monahan pointed out that these vehicles
15 connecting to our grid could provide substantial benefits to
16 everyone who uses electricity, whether or not they drive an
17 electric car. And that is kind of a focus of utilities and
18 others. So it's not a disadvantage to focus -- to attach to
19 a grid, it's a huge advantage because that is the most
20 expensive part of the infrastructure. It's already in place
21 and it can benefit from these vehicles.

22 So thank you.

23 MS. AVALOS: Thank you, Ms. Tutt.

24 Next in line is Diane Moss.

25 MS. MOSS: Hi, thank you so much.

1 MS. AVALOS: Your line is open.

2 MS. MOSS: Hi. This is Diane Moss, policy director
3 for California Hydrogen Business Council.

4 Full disclosure, I also represent some folks in the
5 charging space. So I have a kind of comprehensive hue, I
6 think, of the various positives about the various technology
7 solutions in the zero-emission vehicle space.

8 And I want to bring attention to the title of this
9 workshop which is zero-emissions. And to folks like Angelo
10 who are living in communities that at this time, especially
11 during the COVID crisis, are particularly vulnerable to
12 respiratory issues and how important it is, this work that
13 everybody is doing today. So thank you for convening this.

14 And I want to emphasize the importance of having a
15 broad discussion that is inclusive of all zero-emission
16 vehicle solutions. And I really appreciate Commissioner
17 Monahan and others bringing up that there are battery
18 electric vehicle solutions and fuel cell electric vehicle
19 solutions. And some are going to be better than others for
20 different applications. So it's really important to be
21 discussing an all of the above strategy. There's also
22 resource constraints that point to the need for diversifying
23 technology going forward.

24 On the cost front, Mackenzie has done some pretty
25 comprehensive global analysis that suggests that for shorter

1 ranges, battery electric vehicles may be the winner. But for
2 longer ranges at 100 to 200 miles or more, it -- fuel cell
3 technologies are going to become increasingly important.

4 Both of these types of technologies are nascent,
5 albeit very promising and critical. So I really hope going
6 forward that the CEC when you discuss zero-emission vehicle
7 technology solutions in a heavy-duty sector and others, that
8 you will keep the conversation broad, include battery
9 electric and fuel cell electric vehicles. Sometimes these
10 technologies actually go in the same vehicle. So sometimes
11 it's -- I think it can be of value to discuss them
12 separately, but also a value to talk about them together.

13 As similar to what we were doing in the renewable
14 energy space which I was also involved in. You know, solar
15 and wind, for example, could be discussed separately, but
16 it's also very important to think about these solutions
17 holistically and how they're going to work together
18 complementarity in an ecosystem in order for us to be truly
19 successful at getting beyond fossil fuels and solving the big
20 problems we have to solve.

21 Thank you so much.

22 MS. AVALOS: Thank you, Ms. Moss.

23 Next in line is Antonio Ruiz. Your line is open now.

24 MR. RUIZ: Thank you. Thank you very much.

25 This is Antonio Ruiz; A-N-T-O-N-I-O. Last name

1 R-U-I-Z. I am with Nikola Motor.

2 I'd like to reiterate what some of our colleagues
3 have said already. And we are appreciative of the
4 opportunity and I really appreciate the fact that CEC is
5 taking the charge to promote zero-emission vehicles
6 throughout the heavy-duty and medium-duty sector. I think
7 that's really important.

8 I think what I just heard makes a lot of sense. I
9 would like to see a lot more balanced conversation when it
10 comes to zero-emission options because we do understand that
11 electric vehicles and fuel cell vehicles will be used in
12 different applications. And I have to -- I have to make sure
13 I share this with you that we don't see this as competing
14 entities, we actually see them as complementing. So being
15 able to understand where they play a part is crucial, I think
16 it's really important.

17 It is absolutely true that fuel cell electric
18 vehicles are electric vehicles. The major difference is how
19 the energy's stored, whether you charge it or carry it on as
20 a hydrogen form is pretty much the difference. But they both
21 bring the same benefits and frankly impacts significantly
22 those communities that are suffering today.

23 So I just wanted to share that and I appreciate the
24 opportunity. Thank you so much for taking the lead.

25 MS. AVALOS: Thank you, Mr. Ruiz.

1 Moving forward, I don't see any more public comments
2 with raised hands.

3 So that will conclude our public comment session.

4 I'll hand it over to Heather.

5 MS. RAITT: Okay. Thank you, Rosemary. And to
6 everybody who commented.

7 So I'll just also add that remember there's an
8 opportunity for written comments due June 11th. And the
9 information's given there how to do written comments and
10 submit a notice. And hoping folks can join us for the
11 afternoon session tomorrow with the last part of the
12 workshop.

13 And I invite commissioners to make any closing
14 remarks if you'd like.

15 COMMISSIONER MONAHAN: Yes. So want to thank
16 everybody for participating. It can be hard, I know, to do a
17 lot of Zoom meetings over and over again. I'm trying to
18 figure out still I think the right amount of time for a
19 dialog among the participants and then to have input with the
20 folks that are listening in. So more to come I think we're
21 going to again try to use the technology more richly to be
22 able to have more folks engaged in real time.

23 So thanks to everybody. Thanks for folks who stuck
24 around and provided public feedback literally, I appreciate
25 that. And I hear the message that those that, you know, do

1 want to balance portfolio, there is a role to play for fuel
2 cells in the medium-, heavy-duty stage. And we will be
3 having more conversations about that. I think that battery
4 electric vehicles are a bit ahead in terms of the deployment
5 and price dropped that we're seeing in the market. Fuel
6 cells are, I think, advancing just not quite at the quick
7 pace that we're seeing. We have seen it listed directly with
8 batteries.

9 And -- but we do realize that there is an important
10 role to play for both zero-emission vehicle technologies.
11 And we need to make sure that, you know, we're doing all we
12 can to support a diverse portfolio. And we're doing all we
13 can to reduce harmful diesel pollution as we accelerate their
14 emission technology.

15 So with that, Commissioner Inman, do you have any
16 final remarks before we head out?

17 COMMISSIONER INMAN: Let's see, make sure I'm still
18 on my phone here. Let me see.

19 COMMISSIONER MONAHAN: We can hear you fine.

20 COMMISSIONER INMAN: Can you hear me okay?

21 COMMISSIONER MONAHAN: Yes.

22 COMMISSIONER INMAN: Okay. So I've pushed too many
23 buttons here.

24 No, I just want to thank you for including me and
25 look forward to tomorrow as well. And I think, you know,

1 thank heavens for this technology, it allows us to listen and
2 learn and look forward to having more of these discussions.
3 I think we discovered today that there's lots of areas we can
4 work on. So I think that's great.

5 So thank you and I'll see everybody tomorrow.

6 COMMISSIONER MONAHAN: Excellent. Thank you.

7 COMMISSIONER INMAN: Thank you.

8 COMMISSIONER MONAHAN: Bye, everybody, have a good
9 rest of your day.

10 (Thereupon, the Hearing was adjourned at 4:20 p.m.

11 --oOo--

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 23rd day of June, 2020.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

June 22, 2020