

DOCKETED

Docket Number:	20-IEPR-02
Project Title:	Transportation
TN #:	234943
Document Title:	Transcript - 7-529-20 - COMMISSIONER WORKSHOP ON NEAR-ZERO VEHICLES AND LOW-CARBON FUELS PM Workshop
Description:	COMMISSIONER WORKSHOP ON NEAR-ZERO VEHICLES AND LOW-CARBON FUELS PM Workshop - 07-29-20 - Session 2: Liquid Low-Carbon Fuels
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	9/29/2020 3:53:13 PM
Docketed Date:	9/29/2020

CALIFORNIA ENERGY COMMISSION

In the matter of:

2020 Integrated Energy)	Docket No. 20-IEPR-02
Policy Report Update)	REMOTE ACCESS WORKSHOP
(2020 IEPR Update))	
_____)	

COMMISSIONER WORKSHOP ON NEAR-ZERO
VEHICLES AND LOW-CARBON FUELS

REMOTE VIA ZOOM

Session 2: Liquid Low-Carbon Fuels

WEDNESDAY, JULY 29, 2020

2:00 P.M.

Reported by:

Martha Nelson

APPEARANCES

COMMISSIONERS

Patricia Monahan, 2020 IEPR Update Lead Commissioner

Karen Douglas, California Energy Commission

CEC STAFF

Heather Raitt, IEPR Program Manager

Michael Comiter

PUBLIC ADVISOR

RoseMary Avalos

MODERATOR

Tim Olson, California Energy Commission

PRESENTER

Arpit Soni, California Air Resources Board

PANELISTS

Doug Patteson, California Central Valley Regional Water
Quality Control Board

Gene Gebolys, World Energy

Jennifer Case, New Leaf Biofuel

Aaron Robinson, United Airlines

Annie Petsonk, Environmental Defense Fund

APPEARANCES

PUBLIC COMMENT

Rob McGinnis, Prometheus Fuels

AGENDA

	<u>Page</u>
Introduction	5
Opening Remarks	6
Commissioner Monahan Commissioner Douglas	
Low-Carbon Fuel Options in California Arpit Soni	--
Near-Zero Vehicles and Biomethane	10
Moderator: Tim Olson	
Panelist: Gene Gebolys Jennifer Case Aaron Robinson Annie Petsonk	
Public Comments	79
Closing Comments	82
Adjourn	83

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

2:00 P.M.

WEDNESDAY, JULY 29, 2020

MS. RAITT: All right, we'll go ahead and get started. Good afternoon everybody. Welcome to today's IEPR Commissioner Workshop on Near-Zero Emission Vehicles and Low-Carbon Fuels. I'm Heather Raitt, the Program Manager for the Integrated Energy Policy Report, which we call the IEPR. Today's workshop is being held remotely, consistent with the Executive Orders N-25-20 and N-29-20, and the recommendations from the California Department of Public Health, to encourage physical distancing to slow the spread of COVID. This afternoon, we'll focus on liquid low-carbon fuels.

This meeting is being recorded. We will post a recording and written transcript on our website. Also, today's presentations have been posted.

We'll be using the Q&A function again in Zoom, if you were on this morning, so attendees may type questions for panelists by clicking to the Q&A icon. And before typing a question, please, check to see if someone else has already

1 posed a similar question. And, if so, you can
2 click the thumbs-up to vote on it. The questions
3 with the most thumbs-up or clicks are up-voted to
4 the top of the list. And we'll reserve about
5 five minutes at the end of the panel for attendee
6 Q&A. And given the time restrictions, we won't
7 be able to elevate all questions received. Also,
8 we don't plan to raise the attendee Q&A for the
9 presenter before the panel.

10 So now I'll just go over how to provide
11 comments on the material in today's workshop.
12 There will be an opportunity at the end of
13 today's session. So using the Zoom online, click
14 raise-hand icon to let us know you'd like to make
15 a comment. And if you change your mind, you can
16 click it again and your hand will go down.

17 For those on the phone, press star nine
18 to raise your hand and we will open your line
19 during the public comment period.

20 Alternatively, written comments are
21 welcome and they are due on August 19th.

22 And with that, I'll turn it over to
23 Commissioner Patty Monahan for opening remarks.

24 Thank you.

25 COMMISSIONER MONAHAN: Thanks, Heather,

1 and good afternoon everybody.

2 So as I noted this morning, this topic is
3 particularly interesting because we have a legacy
4 suite of diesel vehicles that are causing a lot
5 of health problems in the state of California and
6 making it really hard for at least certain air
7 quality management districts to attain the state
8 and federal standards needed to protect public
9 health.

10 So we also have a number of
11 transportation sectors that are very difficult to
12 electrify. And when I say electrify, I mean
13 either with battery-electric or fuel cell
14 electric, and sectors like air travel. So I'm
15 very curious to hear the thoughts of the folks on
16 this panel around what we can do to ensure that
17 we're both protecting public health and advancing
18 our goals on climate change.

19 So with that, I'll see if Commissioner
20 Douglas, who I believe is also on the line, has
21 any opening remarks before we turn it over to the
22 panel?

23 COMMISSIONER DOUGLAS: Hi. Good
24 afternoon. I'll pass on opening remarks so we
25 can get into the panel, but thank you,

1 Commissioner Monahan. And I'm looking forward to
2 hearings from the speakers today.

3 COMMISSIONER MONAHAN: Great. Thank you.

4 All right, well, let's introduce our
5 first speaker. As Heather said, we're first
6 going to have a speaker, we had one this morning,
7 too, to kind of just give us a lay of the land
8 before we have the different interests on the
9 panel speak. So today we have someone from the
10 Air Resources Board, our partner agency who is
11 the lead for the Low Carbon Fuel Standard. I
12 think it's, arguably, the reason why we have so
13 much investment in low-carbon transportation
14 alternatives is because of the Low Carbon Fuel
15 Standard. I would say it has a terrible moniker
16 but it's a very powerful regulatory tool.

17 So Arpit Soni is the Manager of the
18 Alternative Fuels Section at the Air Resources
19 Board. And that's one of three sections at ARB
20 that's overseeing the implementation and
21 development of the Low Carbon Fuel Standard.
22 It's short -- it's also called the LCFS for those
23 in the know. So Arpit's section is primarily
24 responsible for regulatory and policy development
25 of the Low Carbon Fuel Standard. Previously, as

1 a program staff person, he supported the
2 development of electricity -- of the electricity
3 and hydrogen provisions of the policy. And he
4 also worked on streamlining the LCFS
5 implementation.

6 So I'll turn it over to you. And then
7 I'm going to turn my video off during your
8 presentation.

9 MR. SONI: All right. Thank you Commissioner
10 Monahan and those for the introduction and providing this
11 platform, which I hope will result in an engaging
12 conversation about the role of low-carbon fuels that we
13 have in California, long term climate strategy and you
14 raise some very, very critical points over there and I'll
15 try to address some of those to my presentation.

16 So today I'll be discussing the role of low-
17 carbon fuel standards, or LCFS, as we call it for short,
18 in promoting the alternative fuels in California. But
19 before I dive into that I want to discuss California's
20 broader approach towards to climate change.

21 Next slide please.

22 So as you can see over here in California we
23 have chosen a portfolio approach for addressing climate
24 change. The reason was not to rely just on one program,
25 but instead adopt a suite of policies that could help

1 reduce emissions in broad sectors and various sectors.
2 And some of California climate policies, as I mentioned,
3 over here on this slide. And you will notice that these
4 policies do not operate in isolation, but often overlap
5 with each other. And you will notice a pattern over here
6 that most of these policies actually overlap with
7 transportation sector, and there is a very good reason
8 for that. Next slide please.

9 So as you can see, transportation sector in
10 California accounts for fifty percent of states emissions
11 when you also account the emissions from refining all oil
12 production processes. That's where they'll LCFS content
13 to the big term it is California leading policy to
14 promote alternative fuel use and reduce emissions from
15 the transportation sector, in addition to reduce --
16 reducing emissions as LCFS also helps with transformation
17 and diversification our fuel. While also helping reduce
18 the petroleum dependency of the state. And it also makes
19 us health progress on achieving the air quality benefits,
20 which is one of the key goals of our agency. Next slide
21 please.

22 Thank you.

23 Before I jump into discussing how is LCFS has
24 been performing, what are the key factors, I want to take
25 a minute and just explain how LCFS works for everybody's

1 interest, and as a refresher. So LCFS is a performance
2 standard program with a built in market mechanism. It
3 sets an annual declining carbon intensity benchmark for
4 gasoline and diesel and the alternative fuels that
5 replaces them.

6 All the fields that are reported in the program
7 are assigned a carbon intensity score, or as we call it
8 CI score, based on lifecycle assessment. The providers of
9 high carbon fuels with CI value above the benchmark end
10 up generating deficits in the program. And the fuel
11 providers who are bringing in low-carbon fuels, which has
12 the CI scores below the benchmark, they generate credits
13 in the program. At the end of every year, deficit holders
14 have to either produce or buy these credits to meet their
15 obligation. And that results in an active LCFS credit
16 market. And that, hence the market mechanism.

17 This slide shows the annual carbon intensity
18 benchmarks expressing the terms of percentage reductions
19 in CI values from 2010 baseline. Now when LCFS adopted
20 the goal of the program was to help reduce 10 percent
21 help -- get a 10 percent reduction in Stage 2 carbon
22 intensity by 2020 from 2010 levels. But in 2018, we went
23 back to our board and we strengthened our targets,
24 reduction targets, that we have to make 20 percent
25 reductions by 2030. I just want to point out, it is very

1 important to note that LCFS program does not have an end
2 date currently. If the regulations are not amended in
3 future this 20 percent reduction targets will continue on
4 indefinitely after 2030.

5 But it is very likely that we will go back to
6 our board in next few years and in a broader scope of
7 things as we are discussing carbon neutrality 2045 we
8 have. We also have some near term, 2030 climate goals,
9 just to align everything together, we may go back to the
10 board. And at some point, we may request them to further
11 strengthen our reduction targets for future years.

12 Next slide please.

13 So this shows the progress so far in LCFS. As
14 you can see the two charts show here the diversification
15 of the fuel types that coming to California and how that
16 has been somewhat separated by LCFS. Over the last 10
17 years as a program has been implemented. The chart on
18 the left here shows the alternative fuel volumes reported
19 in the LCSF program. And the chart on the right shows the
20 corresponding number of credits that originated from that
21 fuel volume. As you can see in the earlier years of the
22 program the majority of the alternative fuel volumes were
23 made from ethanol, specifically corn ethanol. But in
24 recent years, we have also seen a significant increase in
25 volumes of renewable diesel, bio diesel, renewable

1 natural gas and electricity playing a bigger role in
2 transportation fuel in California.

3 This in 2019, I believe that combined volume of
4 biomass base these are raised almost, almost 800 to 900
5 million gallons. And collectively all the alternative
6 fuels reported in the program displays about two and a
7 half billion gallons of petroleum fuel just in 2019.

8 Now looking at these two slides in tandem gives
9 a more complete picture of emissions benefits that have
10 been realized in the program. You will see that although
11 electricity was a small part in terms of volume - but the
12 emission reductions achieved are higher because, again as
13 I mentioned, we look at the life cycle and various
14 factors that accounts for the emissions accounting. And
15 there is this Energy Economy Ratio, which gets accounted
16 for when we talk about these vehicles and their fuels,
17 which have a higher displacement factor than fossil
18 fuels. Next slide please.

19 So this is one of my favorite charts. As you
20 can see, this slide provides an indication of the support
21 that LCFS is providing to low-carbon fuels. The annual
22 LCFS value, shown here, represents the basically a
23 product of the multiplication of the number of credits
24 generated in a year times the average credit price in
25 that year. But as you see that this value support that

1 the program has been providing has been increasing very
2 steadily in the last several years, and in 2019 alone, it
3 provided almost \$3 billion dollars worth of revenue to
4 low-carbon fuel providers. Next slide, please.

5 Now in 2018 we went back to our board as I was
6 mentioning, we went back and requested to further extend
7 and strengthen the CI reduction targets in the program up
8 to 2030. Besides that, we made several other amendments
9 to the program: including we updated some of the life
10 cycle assessment models that we use for data mining the
11 CI values.

12 In addition, we also added a third-party
13 verification program to help ensure the integrity of the
14 program data. Besides that, we added several new
15 categories for providing opportunity for creating in the
16 program for new fuels or different other project types
17 that can help reduce emissions from transportation
18 sector. Some of those are highlighted here, but I will be
19 talking about more in more detail about individual
20 additions in the following slides. So let's actually just
21 go to the following slides. Can I have the next slide
22 please?

23 So as one of the major additions to the program
24 was alternative jet fuel, and with large support from a
25 number of stakeholders, we were able to add alternative

1 jet fuel as an opt-in fuel in the program, which can
2 generate credits when it is uploaded in an aircraft in
3 California. However, I want to know that currently
4 conventional jet fuel is still regulated at the federal
5 level. So it is not subject to that regulations and
6 conventional jet fuel is not generate deficits in the
7 program.

8 But as a result of this new amendment of this
9 provision, we are already seeing additional investment
10 and interest going towards alternative jet fuel as
11 evidenced by very recent announcements. I'm sure most of
12 you may have heard Amazon has agreed to purchase a large
13 order of AJF from World Energy who are producing this
14 sustainable innovation fuel right here at the facility in
15 California and I know Gene will be speaking later today,
16 so he may have more to add to it. Besides that, Neste,
17 who is also one of the leaders in providing renewable
18 diesels, they announced that they have delivered, for the
19 very first time, sustainable aviation fuel to San
20 Francisco Airport via pipeline, which we think is a major
21 breakthrough in terms of just infrastructure of providing
22 this alternative fuel to aircraft.

23 To date in LCFS, we have, I think ,we have
24 approved about four alternative jet fuel pathways. And
25 they have a very, very range of CI values but again it

1 just shows that within a year, we have garnered the
2 interest from the industry about deploying more
3 facilities for producing alternative jet fuel.

4 Second major addition -- Next slide, please.

5 Thank you.

6 Second major addition. Yes, this is the one.

7 Second major addition to the LCFS was the adoption of
8 protocols for carbon capture and sequestration. This
9 protocol details the quantification and permission
10 requirements that allows for CCS projects at
11 biorefineries, oil fields, petroleum refinery, as well as
12 direct air capture projects products to receive credits
13 under LCFS framework.

14 Again, in just a short period of time we have
15 seen significant interest in LCFS projects, and we have
16 already certified a design-based application and we have
17 posted one more last week for public comments. We are
18 currently reviewing several other applications and we
19 have received several other interest. Both the
20 applications that one that we posted in the review and
21 currently are attached to an ethanol facility. This will
22 result in reduction of the CI for the -- it's not coming
23 up in those -- facility by a factor 25 to 30 grams per
24 megajoule of CI units. Next slide please.

25 And then are RNG is another important fuel that

1 LCFS is really trying to promote, especially again, going
2 back to Commissioners' main point, for these sectors
3 which are really hard to decarbonize by electrification
4 right away. And through 2018, nearly 100 percent of the
5 renewable natural gas that was reported under LCFS was
6 coming from landfills.

7 However, when we made some amendments in 2018,
8 we streamlined the application projects process for our
9 energy projects. And this included adoption of simplified
10 CI calculators and providing other tools that helped
11 applicants shorten the approval process for their
12 pathways. And since the beginning of 2019, since we have
13 streamlined some of this process, we have received
14 application for fifty-three of the lower CI pathways,
15 forty-one of those are from dairy and swine manure
16 digestors, six are related to diverting organic waste
17 from landfills, and six are related to wastewater
18 treatment plants.

19 There's the fuel volume and credit generation
20 for these low CI sources of RNG coming into the program
21 increased almost about (indiscernible) just in 2019. Next
22 slide please.

23 Now electricity is another important fuel in
24 LCFS program. And since the inception of the program,
25 utilities have been receiving credits for the residential

1 EV charging and because it's not readily metered all
2 residential EV charging what CARB does is recalculate the
3 average CI on the California grid, and we use that we
4 also estimate the number of EV charging at residential
5 locations in California, and we calculate and allocate
6 these residential recharging credits just to utilities.

7 However, in 2019, we started allowing entities
8 to generate credits for matching low CI electricity, such
9 as from solar, or wind, or maybe some of these ultra-low
10 carbon projects coming from R&D from dairy to power
11 projects. We allow entities to match these low and ultra-
12 low CI electricity with charging at residential locations
13 and for that they can generate an incremental credit
14 which represents the CI reduction from the grid average
15 carbon intensity to that of the renewable low CI
16 electricity that they are matching. Under this provision,
17 the crediting must be based on actual metered charging -
18 that was one of the key factors we built into that. And
19 the important thing was that we did not only rely on the
20 metered chargers and level two chargers, but we also
21 allowed telemetrics to be used, which was sort of a first
22 in our program.

23 So far, I would say we have seen a great deal
24 of interest in this provision as well -- about almost
25 nine or maybe ten entities reporting for this provision.

1 Five of which are major automakers they are reporting for
2 over 300,000 EVs in California. So we have a database or
3 just in my system, which represents almost half the EV
4 population in California today. Next slide please.

5 Starting 2019, as I mentioned earlier, along
6 with incremental crediting we also added several other
7 offer transportation categories for generating credits
8 for supplying electricity as a transportation fuel. This
9 included the shore power going to ocean-going vessels at-
10 berth, electricity use for electric cargo handling
11 equipment and transportation refrigeration units. Within
12 a short period of time, again, we are seeing a lot of
13 interest from some of the entities and these categories
14 and just in Q4 2019 in the past quarter, I think we gave
15 away about 30,000 credits, which is what \$6 million of
16 value, just for these categories.

17 In LCFS, we have a provision which requires
18 revenue from electricity credits to be real estate and
19 transportation electrification projects. And we expect
20 that the value going for these categories will get
21 reinvested in transportation electrification at ports and
22 warehouses, which we think is, again, very critical,
23 because these are some of those hard to electrify
24 categories which we have been saying for a long time and
25 we think it's a key to help these sectors transition for

1 achieving our long term climate goals. Next slide please.

2 Along with all these additions we were also
3 very aligned with broader goals as I mentioned earlier,
4 and in 2018, Governor Brown signed an executive order
5 with the goal of installing 200 hydrogen refueling
6 stations and 10,000 DC fast-chargers by 2025. This was in
7 alignment with our long-term EV adoption goals. While
8 making this order, he did direct LCFS to help achieve
9 these refueling infrastructure goals and in response to
10 that, CARB approved the ZEV infrastructure provision in
11 LCFS, which, essentially, promotes a rapid deployment of
12 every refueling infrastructure, by supporting these
13 projects. With additional LCFS credits, which came to be
14 known as capacity credits, especially with the
15 utilization of these stations are very low in early
16 years. Today, nearly 50 hydrogen stations and about 500
17 DC fast-chargers have been approved to generate
18 infrastructure credits under this provision. Next slide
19 please.

20 Now I'm going to shift gears here to talk a bit
21 about carbon intensity modeling for the LCFS and impact
22 that CI values play on which fuels get supplied to the
23 California market. The CI value that we calculate based
24 on life cycle assessment includes direct and indirect
25 effects. The direct effect of producing and using the

1 fuel as well some of the effects of the process of
2 production and transportation are calculated using the
3 two tools that we have. One is GREET, California GREET
4 model, and the other is OPGEE model. These basically
5 capture the direct effects. At the same time, we have a
6 model called GTAP and we also developed another model,
7 the Agro-Ecological Zone Emission Factor Modeling, which
8 complements GTAP to assess the indirect effects of land
9 use change, which is a critical factor in LCFS while
10 assessing CI values, and I'll come to that in next couple
11 of slides. Next slide please.

12 So this is a just an example for presentation
13 purposes, how CI is calculated based on the lifecycle
14 assessment of a fuel and how we account for well to wheel
15 process while accounting for emissions in the process.
16 These numbers here are just for presentation purposes.
17 And you will see that we look at all the major steps in
18 the process and we are look at values and, in some cases
19 when there are byproducts, we use the mass energy
20 balancing, accounting principles, to make sure that we
21 are allocating the right amount of emissions with the
22 fuel. And I think this is probably one of the most
23 critical aspect of LCFS. The scientific preciseness and
24 accuracy of calculating CI values have been really
25 critical for implementing this program. Next slide

1 please.

2 And on that note, I want to just add any good
3 program seeking to lower the CI of transportation fuels
4 must base their policies on accurate assessment of real
5 world emissions. And there is a consensus in the
6 scientific community that increasing demand for crop-
7 based biofuels can indirectly incentivize global land use
8 change. Unfortunately, land clearing for producing these
9 alternative fuels always come to, not always, but most of
10 the time, come at expense our world's most carbohydrates
11 and biodiverse forest in a lot of these forest areas.

12 All the modeling of these effects is admittedly
13 very difficult, but failing to account for land use
14 change emission sends inaccurate market signals that
15 misrepresent the fuel emission benefits of these tools
16 that we're incentivizing here in California.

17 Therefore - Oh, I'm sorry I'm still on this
18 slide.

19 And that's why staff engage in robust modeling
20 efforts to estimate land use change emissions for several
21 major crop-based fuels and incorporated them in our life
22 cycle processes and tools and doing so accurately
23 represents the true overall emission reduction from each
24 crop-based fuel consumption. Next slide please.

25 And we have seen the results of this approach.

1 It's been very effective. Just looking at the outcomes
2 that we have seen for the biomass-based diesels, which
3 include both renewable diesel and biodiesel. As an
4 example, you will see here, the vast majority of
5 biodiesel and renewable diesel volumes are produced lower
6 CI feedstocks such as distilled corn oil, which I believe
7 is represented here in red. And tallow, which is an
8 animal byproduct, represented in a teal blue color. And
9 used cooking oil.

10 So these are mostly waste-based products on a
11 volume basis. These feedstocks without land use change
12 represent over 90 percent of total volume of biomass-
13 based diesel that came into California just in 2019.

14 And this breakdown reflects the impact that
15 correctly assess regulatory signals can have when
16 accounting for full lifecycle emissions of
17 transportations fuel. So, in summary, estimating land use
18 change impacts is feasible and is critically important.
19 Next slide please.

20 Now I want to conclude by saying that as much
21 as the state is advancing our vision for a widespread
22 transition to ZEV, low-carbon alternative fuels,
23 especially those that achieve criteria toxic emissions
24 reductions are so critical to our broader climate and the
25 air quality goals. Even in the most aggressive scenarios,

1 the transition to ZEVs will take a number of years. Low-
2 carbon alternative fuels are needed to displace fossil
3 fuels in the short term while this transition ramps up.
4 And we expect that low-carbon fuels are likely to play a
5 very large part in reaching the aggressive 2030 LCFS
6 carbon intensity targets. Specifically, we expect
7 renewable diesel, among others, will be very critical for
8 that that goal. In addition, certain transportation
9 numbers are very difficult to rectify as Commissioners
10 mentioned early on. Specifically aviation sector, and
11 then we have marine sector, certain heavy duty offered
12 applications. These may still heavily rely on low-carbon
13 alternatives fuels until there is a breakthrough.

14 Now, we cannot rule out the possibility of
15 technological innovations in the future that could
16 electrify even these difficult sectors. But we cannot
17 take the risk to not act now, in hopes of future
18 breakthroughs that may come along for these categories.

19 Therefore, further innovation in low-carbon
20 fuels is critical to decarbonizing the transportation
21 sector, as some of these fuels, may be a best option for
22 decarbonizing certain technology, even in the long term.
23 Lastly, I just want to point out, reaching our carbon
24 neutrality goals by mid-century will require integration
25 of currently distinct sectors. It is very possible that

1 some low-carbon fuels developed and incentivized by LCFS
2 may play a role in decarbonizing other sectors. For
3 example, renewable gas could be generated from excess
4 renewable power and then serve as a replacement heat
5 source displacing some other fossil fuels. And similarly
6 hydrogen can be used as a good storage option.

7 So there are co benefits of policies like LCFS
8 besides the transportation sector. But I'll be very
9 happy. So that basically concludes my presentation over
10 here and I'll be very happy to take more questions or
11 answer any specific details of anything I presented in my
12 slides. Thank you.

13

14 COMMISSIONER MONAHAN: Great. Thank you.

15 Commission Douglas, if you have any questions,
16 feel free to join and the virtual dais.

17 I had a few questions. One is I wonder -- I
18 was involved in the low-carbon fuel standard at its
19 inception, but I've not been tracking it over the last 10
20 ish years and I'm curious about - are there any
21 sustainability criteria that are built into the program,
22 besides carbon as a metric in indirect land use change.?

23 MR. SONI: Yeah. That's a very - very good
24 question. And, in fact, I think this, and this probably
25 pre-dates me, but I think but based on my understanding

1 of the programs there was certain informal discussions
2 around 2015 and maybe earlier to consider including other
3 sustainability criteria in the program. But, currently,
4 we do not have any framework which accounts for anything
5 besides the lifecycle of these emission reductions.

6 Thank you.

7 COMMISSIONER MONAHAN: I'm - I'm wondering
8 about, and maybe this is too early. I'm not sure, but --
9 the interaction with the advanced clean truck rules. How
10 will the credits work between the Low Carbon Fuel
11 Standard and say, if I'm a big company buying trucks,
12 will I still be able to get credit under the Low Carbon
13 Fuel Standard for buying an electric truck, even though
14 it's being required by the ACT.

15 MR. SONI: Yeah, exactly. So I would say in
16 LCFS we generally don't have any additionality
17 requirements. So, even some of these trucks, clean trucks
18 or buses or any other low-carbon fuel vehicles being
19 deployed -- no matter if they're deployed for any
20 regulatory reasons, they are still eligible to generate
21 credits in LCFS program.

22 COMMISSIONER MONAHAN: And I'll ask the
23 question I asked this morning of Jeremy Martin from the
24 Union of Concerned Scientists, which is about a national
25 or, you know, as the Low Carbon Fuel Standard spreads to

1 other states and, potentially even nationally, that was
2 necessarily mean that there would be, I mean, not
3 necessarily but likely means that there will be fewer
4 fuels coming to California because there'd be more
5 competition for those very low-carbon fuels.

6 California is kind of the only game in town.
7 Except for Oregon, and, I guess part of Alberta, but
8 yeah, the more.

9 So, how are you thinking at the Air Resources
10 Board about the expansion of the program to other states
11 in the country?

12 MR. SONI: Yeah, no, that's, that's, I think, a
13 very critical and good question. We have been very
14 supportive about the deployment of LCFS in the
15 jurisdiction and maybe nationally, and, in fact, at CARB,
16 we have been coordinating with these jurisdictions. So we
17 help extensively with Oregon's clean fuel program. We
18 have been in coordination with British Columbia, since
19 they implemented their program. We are working with
20 Canada, who are planning to roll out their LCFS
21 equivalent in next two to three years. We advise Brazil
22 for developing their own LCFS equivalent. And currently,
23 we are in conversations with some of these Midwestern
24 states. And some of the Eastern states who have shown
25 interest in LCSF.

1 I agree if currently California represents a
2 major chunk of LCSF-like programs out there, and does get
3 benefit of that monopoly, sort of, if you will, to
4 attract most of the fuel in California. And it's
5 possible that if we expand in terms of LCFS-like policies
6 in other jurisdictions. The fuel may start diverting to
7 other areas as well.

8 However, we will still see that as a win,
9 because we will think that there will be greater signal
10 in the marketplace, which will eventually increase the
11 amount of investment, and potentially, increase the
12 supply of low-carbon materials globally, which should
13 eventually make up or whatever, even if any minor
14 division that we see initially.

15 COMMISSIONER MONAHAN: Yeah. And I
16 totally agree with you that -- I mean -- it's -- it would
17 really be a sign of the success of the program, were to
18 migrate beyond the borders that it currently has migrated
19 to. So it's, I mean it's I think a testament to the
20 tenacity of California for passing the standard
21 withstanding a lot of pressure to weaken it and to roll
22 it back. And then, you know, at the end of the day this
23 is such a major driver for all types of low-carbon
24 transportation fuel. So it really is, I think, an
25 undeniable success story, and hopefully it will migrate

1 even further.

2 And I think I missed - you said you you've been
3 talking with Canada, Midwestern states, Eastern states,
4 did I miss a locality that is considering a low carbon
5 fuel standard? Or is there any talk this in, for
6 example, the EU or any other countries?

7 MR. SONI: So EU will maybe have something
8 equal to RFS if you will. They have this great program,
9 which is not really a standard-based program like LCFS
10 but it's more like a volume mandate like RFS. But they
11 have had some discussions with us, and I think they
12 recently passed their equivalent of Green New Deal. And
13 they have some mentions about transportation, low-carbon
14 fuels program in future. Besides that I did mention that
15 LCFS-equivalent was implemented in Brazil to begin
16 starting 2019. .

17 COMMISSIONER MONAHAN: I did not realize
18 that. And it's an LCSF program. It's not just an ethanol
19 program?

20 MR. SONI: It's more like an LCSF program. Yes,
21 although I think majority of the fuel who will be made up
22 from ethanol, which was the case with California LCFS as
23 well in the initial days.

24 COMMISSIONER MONAHAN: Alright, just two
25 more quick questions.

1 MR. SONI: Sure.

2 COMMISSIONER MONAHAN: One is that when I -
3 way back when I was involved in the passage of the
4 regulation, there was some discussion about having a
5 super credit for ultra-low carbon fuels. So that's
6 because that's where California needs to get to. Is
7 there any talk of having any extra credit for a fuel say
8 that has a very low CI.

9 MR. SONI: So yes, that's a - that's a good
10 question. Thanks for bringing that up.

11 So in LCFS credit generated is primarily
12 proportional to the carbon intensity of the fuel. And
13 how what the delta between the fuels carbon intensity and
14 the benchmark. So, the lower the carbon intensity, the
15 higher the amount of credits they get. So we have seen
16 some pathways, especially some of these daily pathways
17 are energy pathways that I was referring they have carbon
18 intensity ranging into negative 300 or even lower.

19 So when they applied that CI in our credit
20 calculations, they actually get a very significant boost
21 of credit amount for the same amount of fuel. If that was
22 reported to us for other natural gas pathway or some
23 other low carbon fuel pathway instead of an ultra-low
24 carbon fuel pathway.

25 COMMISSIONER MONAHAN: I see, but it's not

1 like a super credit. It's actually just the actual CI
2 credit.

3 (LAUGHTER)

4 MR. SONI: Yeah, we don't call it different
5 credit. But yeah, they do get the additional credits.

6 COMMISSIONER MONAHAN: Okay. I think we
7 just have a few more minutes. I want to make sure -
8 Commissioner Douglas, do you have any questions, please
9 feel free to come on to the video. I'll wait for --

10 COMMISSIONER DOUGLAS: I'm here. I don't have
11 any questions, but appreciate the presentation.

12 COMMISSIONER MONAHAN: Okay, I'm just going
13 to ask one last question, then we can move on to the
14 panel.

15 MR. SONI: Sure.

16 COMMISSIONER MONAHAN: So on the slide that
17 where you talked about ocean going vessels at berth and
18 giving credits for electrification, we actually just this
19 morning saw a presentation from the South Coast that
20 listed ocean, basically vessels, were something like the
21 third biggest sources nitrogen dioxide emissions in the
22 air district which shocked me. I thought what I thought
23 that's a lot of NOX coming from these ocean going
24 vessels, marine vessels, and I'm curious why just
25 electrification, what, why not any other fuel, I mean,

1 the I know there already are some sulfur limits on the
2 fuel when they come close to, to, to shore, but it is it
3 really the only solution is electrification for these
4 ocean going vessels?

5 MR. SONI: So LCFS, what LCFS does given our
6 authority of regulation, we can only apply our rule to
7 the ocean-going vessels at berth. And, primarily the
8 options that we have on LCSF for crediting, electricity
9 is the only, I would say, is the only option that makes
10 sense to LCSF framework. However, we have a separate
11 regulation for at berth vessels, which also targets other
12 emissions, like you mentioned, and NOx and SOx emissions
13 from those idling engines at the berth. And that
14 provides a variety of other options besides
15 electrification like mitigation options they can have
16 covers and they can have auxiliary powers besides their
17 engine on board. So that regulation captures the broader
18 extent of air quality issues that are coming from
19 vessels. What LCSF does is only promote electricity as
20 an alternative option for reducing the GHG emission from
21 idling engines and vehicles at berth .

22 COMMISSIONER MONAHAN: Okay. Great.
23 Thank you. Well, Arpit, thank you so much for
24 coming and presenting to us. And thanks for all
25 your great work to make sure that the Low Carbon

1 Fuel Standard remains a powerful policy.

2 MR. SONI: Yeah. Thank you for inviting.

3 I was happy to engage in a very meaningful

4 discussion. Thank you.

5 COMMISSIONER MONAHAN: Great. Well, let

6 me turn it over to Heather, who is going to be

7 introducing a panel that Tim Olson is

8 facilitating.

9 MS. RAITT: Great. Thank you,

10 Commissioner.

11 Thank you, Arpit.

12 Yeah, so we'll move on to the panel on

13 low-carbon fuels. And Tim Olson is our

14 facilitator from the Energy Commission. And

15 Michael Comiter is also from the Energy

16 Commission and he will be helping to moderate the

17 Q&A from attendees.

18 So with that, go ahead, Tim. Thanks.

19 MR. OLSON: Thank you. Welcome

20 everybody. We have another distinguished panel

21 this afternoon.

22 And I'd like to remind the panel members

23 to, when you're speaking, of course, un-mute and

24 make sure your video is on. And then close that

25 off when other speakers are speaking.

1 So today we have four panel members. And
2 we're going to start with Gene Gebolys who is the
3 Founder and CEO of World Energy, which owns and
4 operates several biodiesel plants in the United
5 States and the very notable renewable diesel
6 plant, renewable jet fuel plant in Paramount,
7 California.

8 So, Gene, go ahead.

9 MR. GEBOLYS: Well, thank you, Tim.
10 Thank you, Commissioners, for the opportunity to
11 be here. Good afternoon to all who are on the
12 call today. Appreciate the opportunity to make a
13 brief statement to start and look forward to
14 today's important conversation.

15 Before I go, I want to applaud the
16 Commission for recognizing the importance of
17 over-the-road vehicles and, in particular, of
18 heavy-duty vehicles in bringing about a
19 transition to more socially responsible energy
20 use in California.

21 You understand that a diesel vehicle
22 purchased today is likely to still be on the road
23 in the 2030s. The only question is: What fuel
24 will power it?

25 You understand that an airplane brought

1 into a fleet today will fly well into the 2040s
2 or 2050s. The only question is: What will power
3 it?

4 No matter what we do with new equipment
5 in the passenger care segment, any meaningful
6 progress must include in-service heavy-duty
7 equipment. Thanks for understanding that often
8 overlooked fact.

9 It's because of that and because of
10 California's leadership in facing the reality,
11 that reality, that World Energy invested in
12 California in 2018 to purchase our partially-
13 converted renewable refinery in Paramount.
14 That's why we are spending over \$1 billion
15 converting that site into 100 percent renewable
16 360 million gallon production and distribution
17 hub with fully operational multimodal
18 distribution for all forms of lower carbon motor
19 fuels.

20 That's why we are blending biodiesel and
21 our renewable diesel there today, making 100
22 percent renewable gas line there today and
23 pioneering the path to renewable jet fuel there
24 today. That's why we intend to build a
25 community-focused innovation center in Paramount

1 to continue to grapple with how best to drive
2 down CI in existing fleets and more effectively
3 do that tomorrow. That's why we are focused on
4 incorporating renewable hydrogen, renewable
5 electricity, renewable natural gas, carbon
6 capture, and other promising innovations to
7 continue to do more and to do better in
8 California.

9 Upon completion of our conversion project
10 our plant alone will displace ten percent of the
11 state's diesel fuel use with much lower CI
12 impact, renewable diesel and renewable jet fuel,
13 but there is much more to do.

14 We are committed to stimulating
15 California-based solutions to make huge strides
16 in pioneering innovation. We do not intend to
17 fully convert our facility and then just operate
18 it. The challenge of energy transition cries out
19 for continual improvement and continual
20 innovation, and so that's what we are setting out
21 to do.

22 We are on our way but we would have never
23 gotten here without public policy leadership and
24 without CEC support in particular. More
25 importantly now, we will never get to where we

1 need to go without continued and sustained public
2 policy leadership.

3 All innovation starts with the societal
4 investment. California's information tech
5 revolution that allows us to now meet this way,
6 virtually, could have only happened with
7 sustained public investment in space and military
8 initiatives over many decades. Those investments
9 have changed everything about how we live. Now
10 we need to do the same with fuel.

11 That's why we intend to build -- that's
12 why we are focused on incorporating -- I'm sorry.

13 California is the global leader in the
14 great energy transition that is coming. Like in
15 other technology breakthroughs the key is
16 continued and sustained commitment of support
17 over decades. The push to date is resulting in
18 the transition of service fleets to lower carbon
19 intensity fuels but we've just begun.

20 There are those that will argue that
21 California should pull back, that the solutions
22 aren't perfect enough, or that others should now
23 lead. To do that would be a grave mistake at a
24 critical juncture. We need more leading-edge
25 investment, more infrastructure investment, and

1 continued consistent policy stability. Now the
2 push to our energy future must accelerate, not
3 slow down, so that California can reap the
4 environmental and economic rewards of its first
5 mover advantage.

6 I appreciate the opportunity to be here.
7 Thanks very much.

8 MR. OLSON: Okay. Thank you. Thank you,
9 Gene. Thanks. Thanks for those comments.

10 Our next panel member is Jennifer Case,
11 CEO and President of New Leaf Biofuel and
12 operates a biodiesel plant near San Diego, and
13 also has a role on some of the distribution.

14 Welcome, Jennifer, and look forward to
15 your comments.

16 MS. CASE: Thank you everybody. Thank
17 you, Commissioner Monahan, Commissioner Douglas,
18 and Tim Olson for inviting me to speak today. My
19 name is Jennifer Case. I am the Founder and
20 President of New Leaf Biofuel in San Diego.

21 We are just finishing up our latest round
22 of expansion, thanks to the Energy Commission for
23 funding that project. Without your support of
24 our industry and our plant, in particular, we
25 would not be there, be where we are today, so

1 thank you very much.

2 So I want to talk today a little bit
3 about the market and where we are with biodiesel
4 infrastructure and some of the opportunities I
5 think we have going forward.

6 As has been mentioned by multiple
7 panelists today, the Low Carbon Fuel Standard has
8 been very successful, thanks to low-carbon fuels.
9 Liquid biofuels make up three-quarters of the
10 program. And nearly half of that is coming from
11 alternative diesel substitutes, like biodiesel
12 and renewable diesel.

13 As of 2019, these renewable fuels make up
14 22 percent of the diesel pool which is fantastic
15 considering we just started in 2010. The
16 Governor has stated that it's his goal to be
17 petroleum and diesel free by 2030 and our
18 industry has a way to get him there.

19 Last year the California Advanced
20 Biofuels Alliance published a white paper
21 explaining that, with continued investment, we
22 can achieve 100 percent petroleum replacement
23 with just renewable diesel and biodiesel blends.

24 And go ahead to the next slide.

25 Since 80 percent of those liquid biofuels

1 consumed in California last year came in from out
2 of state and, in fact, out of country, that's
3 because the Low Carbon Fuel Standard credit
4 values are very attractive.

5 By 2030, we expect the California diesel
6 demand will be about 3.4 billion gallons. And we
7 believe that, with a combination of biodiesel and
8 renewable diesel, we can achieve an 80 percent
9 renewable diesel and 20 percent biodiesel blend
10 that will completely eliminate fossil petroleum
11 diesel from the fuel supply here in California

12 And go ahead and go to the next slide.

13 So the reason that this program has been
14 so successful and why so many people are sending
15 their fuel to California is because the Low
16 Carbon Fuel Standard has provided a significant
17 economic benefit. The carbon score -- the Low
18 Carbon Fuel Standard is fetching about \$200 per
19 metric ton right now, which can translate to
20 about \$1.50 to \$1.75 per gallon that should go
21 back to the producer, which is why so much fuel
22 is coming in. It's very attractive.

23 The problem that we have -- you can go to
24 the next slide -- the problem that we're having
25 here in California is that with all this fuel

1 coming in there's a bottleneck that is happening
2 at the storage and distribution space. What's
3 happening is lots of fuel is coming in and the
4 areas that can actually distribute that fuel is
5 very limited. It's mostly at the petroleum
6 refining and trading space. And what happens is
7 the downstream petroleum participants with that
8 proprietary infrastructure are demanding very
9 deep discounts in order to take that fuel.

10 So what happens is there's a potential --
11 there's a perpetual market glut of biodiesel and
12 renewable diesel that's coming into California
13 and it's not able to get to the end user and
14 provide an economic benefit to the end user.

15 It's also robbing the producer of the Low
16 Carbon Fuel Standard credit because that discount
17 that's being forced on them in order to get their
18 fuel into the marketplace.

19 So this is where the opportunity comes
20 in. We believe that with very limited investment
21 to independent storage and distribution outside
22 of the petroleum space, specifically focused on
23 renewable diesel and biodiesel, we can de-
24 bottleneck the state and allow both the producer
25 and the end user to get some more value out of

1 the Low Carbon Fuel Standard.

2 The other benefit that we're going to
3 have if we invest in some independent storage and
4 distribution in California is we'll be able to
5 increase the blend levels. Because the major
6 distribution is within petroleum space, a lot of
7 the times the distribution is limited to either
8 B5 or R5, so we're not getting the opportunity to
9 blend the fuel all the way up to B80 -- or R80
10 and B20, which really should happen if we want to
11 reach that 2030 goal.

12 You can go to the next slide.

13 The Commissioner pointed in the beginning
14 to this section about legacy vehicles causing
15 problems still and we recognize that that's an
16 issue. Renewable diesel, especially, will help
17 solve that problem. Renewable diesel improves
18 and offsets any NOx from biodiesel increases.
19 However, we're also expecting that the turnover
20 in the fleet will happen in the next few years,
21 so there's no reason why we should not be
22 investing in biodiesel and renewable diesel
23 blending and infrastructure.

24 Importantly here, these investments do
25 not have to be large. There will be an immediate

1 carbon reduction return on investment of between
2 \$0.50 and \$0.75 per metric ton of greenhouse gas
3 reduction over the next ten years. That is
4 significant. It will result in immediately
5 deployment of near-zero emissions equipment,
6 including significant criteria tailpipe emissions
7 reductions. So this will facilitate dramatic
8 decarbonization of the heavy-duty diesel sector.
9 And I hope you guys will consider putting some
10 funding towards renewable infrastructure.

11 Thank you.

12 MR. OLSON: Thank you, Jennifer.

13 And our next speaker on the panel is
14 Aaron Robinson, who is Sustainability Manager for
15 United Airlines, and we're looking forward to his
16 comments about some of the sustainable aviation
17 options.

18 Go ahead, Aaron.

19 MR. ROBINSON: Thanks Tim. Good
20 afternoon and thank you for the opportunity to
21 speak about low-carbon fuels from the aviation
22 perspective today.

23 We were the first airline to commit to
24 reducing our greenhouse gas emissions in the
25 United States. We committed to a 50 percent

1 reduction by 2050, which is the equivalent of
2 removing all the cars in Los Angeles and New York
3 City combined.

4 As Gene mentioned, aviation doesn't have
5 electricity as an option in the near term.
6 Aircraft we're ordering today, many of them will
7 still be flying in 2050. And as a result, we rely
8 on liquid fuels for our decarbonization
9 transition.

10 In 2019, we bought over 700 million
11 gallons of jet fuel in California, 1 million of
12 which was derived from sustainable sources and
13 produced by World Energy, so we will have a long
14 way to go.

15 This fuel also came in at a high price
16 premium, so we also need help in transitioning.
17 Part of this can come from government incentives
18 and, in the process, help create clean energy
19 jobs.

20 As Arpit had mentioned, jet fuel joined
21 the Low Carbon Fuel Standard in 2019. And this
22 addition directly led to many new purchase
23 agreements, including our own renewal with World
24 Energy, and several production announcements by
25 new producers that had not yet received the

1 financing they needed which the Low Carbon Fuel
2 Standard was able to provide that certainty for
3 their investors.

4 The Low Carbon Fuel Standard is a
5 powerful magnet. Today, when airlines want to
6 buy sustainable aviation fuel, they've come to
7 California. And I'm not just talking about U.S.
8 airlines. Airlines in Europe and Asia don't buy
9 it in their own region, they buy it here, in Los
10 Angeles and San Francisco.

11 But, unfortunately, producers are
12 deliberately locating themselves and their
13 production facilities outside of the state in
14 Reno or Southern Oregon, for example, because the
15 permitting process in California takes so long.
16 World Energy and its production facility in
17 Paramount is the exception, not the rule, and
18 clean energy jobs are being lost to other
19 communities as a result.

20 In addition, other states are starting to
21 add incentives, as well, so California needs to
22 continue advancing to maintain its leadership in
23 this space.

24 Moving back to aviation, diesel is
25 actually cheaper to produce than jet fuel, it

1 sells at a higher price in the market, and it
2 generates more Low Carbon Fuel Standard credits.
3 These three factors alone make it a significantly
4 higher price premium for sustainable jet fuel
5 than it is for renewable diesel. Gene knows that
6 we would love to buy more sustainable aviation
7 fuel from World Energy but we have to make it
8 worth its while. We have to pay a significant
9 premium to overcome the profitability gap we
10 could make by producing diesel instead.

11 In Europe, Arpit mentioned the renewable
12 energy directive there. Authorities have
13 recognized this dilemma and they actually have a
14 credit multiplier for jet fuel to help overcome
15 this problem.

16 One of the opening comments from one of
17 the Commissioners also talked about wanting to
18 learn about social benefits and what we can do
19 beyond decarbonization? Well, I think there's a
20 powerful opportunity here. LCFS credits or other
21 financial incentives can help solve other
22 problems California faces.

23 For example, one SAF producer, Red Rock
24 Biofuels, entering the market soon, produces
25 their sustainable fuel from woody biomass and

1 waste residues. This can help reduce
2 California's forest fire risk.

3 Another thing we've also looked at is
4 documenting the local air quality benefits that
5 sustainable aviation fuel offers. We're
6 estimating that there's, depending on the
7 pollutants, anywhere from a 10 to an 80 percent
8 reduction in that pollutant, and that it can help
9 improve the air quality and the health of
10 California citizens.

11 Further support for low-carbon fuels,
12 it's not only good for the economy and
13 decarbonizing aviation or the broader economic
14 but it's also good for our society as well.

15 Thank you.

16 MR. OLSON: Okay. Very good, Aaron.
17 Thank you very much for those comments.

18 And our final panel speaker is Annie
19 Petsonk of the -- a principal with Environmental
20 Defense Fund. We're interested in -- and she's
21 got some really relevant comments about this
22 comment area.

23 Thank you, Annie, and please proceed. It
24 looks like your muted, Annie.

25 MS. PETSONK: Is this better?

1 MR. OLSON: Yeah. We can hear you.

2 MS. PETSONK: Yeah. Great. Thanks so
3 much. And thank you very much to the
4 Commissioners for your invitation to participate
5 and for your attention today.

6 The Environmental Defense Fund has been
7 working in the International Civil Aviation
8 Organization, I-C-A-O or ICAO, for the past six
9 years to develop sustainable aviation fuel
10 standards which have now been agreed by the
11 countries of the world and, for the most part,
12 are in effect. Under these standards,
13 sustainable aviation is evaluated on a lifecycle
14 basis for its carbon benefits. Each fuel to be
15 accepted into the ICAO Program must satisfy
16 stringent sustainability criteria. The total
17 number of sustainability criteria are 12
18 criteria, 3 of which have already been adopted
19 and the other 9 are before the ICAO Governing
20 Body of Council right now for adoption. And those
21 cover social sustainability, economic
22 sustainability, as well as environmental and
23 community sustainability.

24 We see a great opportunity for the LCFS
25 to build on the work that's been done in ICAO

1 which, in turn, builds on what the LCFS developed
2 originally. And there's no question that the two
3 processes have been reinforcing of each other.

4 Implementation, the ICAO Standards apply
5 the lifecycle analysis to the entire lifecycle,
6 including -- and they are feedstock-neutral.
7 They include attention to direct and indirect
8 emissions. And this is something that we think
9 the LCFS could be updated to take into account.

10 For example, in CARB's introduction to
11 the LCFS, they spoke about the accounting for
12 indirect emissions for crop-based biofuels. But
13 those are important, also, for non crop-based
14 biofuels. For example, consider a biofuel that's
15 produced from tallow, animal fat. If that fat
16 was previous a waste then and going to landfill,
17 then the benefit of producing the biofuel from it
18 can take into account reduced emissions as a
19 result of it not going into a landfill.

20 But if that tallow was going to be used,
21 let's say, in the candle-making industry or the
22 cosmetic industry and those industries, because
23 they're not getting that tallow, now have to turn
24 to alternatives, let's say palm oil imported from
25 countries that are destroying tropical forests to

1 generate the palm oil, then that's an indirect
2 effect which can cause an emissions increase over
3 the lifecycle. And we think that the LCFS could
4 benefit from following the ICAO approach to take
5 into account these indirect emissions, regardless
6 of the feedstock.

7 We also think that the LCFS could benefit
8 from scrutinizing the environmental attributes of
9 the feedstocks over their whole supply chain.
10 That is something that the E.U. is moving toward
11 and that ICAO has done.

12 Third, we'd like to call attention to the
13 fact that as the carbon price signal from the
14 California AB 32 Program increases and becomes a
15 more and more significant incentive in the coming
16 years, it may be useful for CARB to reevaluate
17 its current approach, which is to give a zero CO2
18 combustion rating for biofuels, and instead for
19 CARB to transition to a system that taps into the
20 lifecycle analysis approach applicable in the
21 LCFS.

22 Fourth, we note that some of the carbon
23 intensity pathways in the LCFS might need to be
24 reviewed to ensure that the lifecycle emissions
25 claims are consistent with rural emissions

1 reductions. For example, a fuel based on
2 municipal solid waste that claims that methane
3 emissions can be avoided over a 100-year time
4 frame is not the best practice today in the
5 field.

6 What's exciting to us is that the LCFS,
7 even with these features that could be improved,
8 is proving to be an inspiration, an inspiration
9 to the International Civil Aviation Organization
10 to move ahead with its standards, which the
11 United States has now exceeded to, and to other
12 regions and countries that are putting together
13 their own lifecycle approaches.

14 I'd be happy to answer questions about
15 how the ICAO approach is developing but I want to
16 finish by saying that, as we see it, aviation is
17 at a crucial juncture. There's no question that
18 the current COVID crisis has caused horrendous
19 job losses and the real greatest economic
20 challenge in the history of the industry.

21 Our assessment is that the industry is at
22 a crucial point. Real leadership would mean
23 rebuilding the aviation industry in a climate-
24 compatible path consistent with near-zero
25 emissions by 2050.

1 Thank you.

2 MR. OLSON: Thank you, Annie. Thank you
3 very much for those comments.

4 So, Commissioners, we're now going to
5 turn it back over to you of questions of the
6 panel members and proceed from there.

7 COMMISSIONER MONAHAN: Great. Thank you.
8 And thanks to all the panelists. That was
9 really, really interesting.

10 I first have a question, I guess for
11 Aaron, and your comments around there's a big
12 price difference with buying renewable jet fuel,
13 even with the credit from the LCFS. I'm curious
14 but can you give us a sense of how far off we are
15 from having the LCFS be a sufficient driver in
16 terms of just, you know, the price benefit of
17 having a low-carbon fuel? Like how far off are
18 we from having a sustainable model where you
19 don't need any -- where the LCFS is enough of a
20 driver?

21 MR. ROBINSON: Yeah. Certainly. So
22 without going into too specific numbers, kind of
23 the United side and what we've seen, you know,
24 the industry kind of rule of thumb out there is
25 you're looking still at about \$1.00 a gallon

1 price that's being faced. Now that was also a
2 pre-crisis number. And one of the things we saw
3 in the crisis, of course, was that conventional
4 oil prices fell quite a bit. And at one point
5 they were a dollar lower than they had been
6 previously. Now that's certainly come back up a
7 bit. But one of the long-term benefits we see
8 for low-carbon fuels is that they are relatively
9 insulated, at least on a production cost basis,
10 versus conventional fuel.

11 So, you know, perhaps the gap today is in
12 kind of the \$1.50 range. But that's also going
13 to vary based on the producer. And you know,
14 certainly, the LCFS does provide a strong
15 incentive for them to figure out how to lower
16 that carbon intensity further.

17 But, you know, kind of pre-crisis, I
18 would have said, rule of thumb is about \$1.00 a
19 gallon is what you're looking at.

20 COMMISSIONER MONAHAN: Great. Thank you.

21 And, Gene, I wonder if you could
22 elaborate a little more? I mean, you seem like
23 one of the few success stories in terms of being
24 able to build out in California and deliver low-
25 carbon, both biodiesel and jet fuels. What's the

1 -- like what's been the ingredients of success
2 for World Energy in coming to California?

3 MR. GEBOLYS: Well, look, obviously, a
4 number of folks have commented on it, the LCFS is
5 the driver of all the economics. And all the
6 investment chases the opportunity to participate
7 in the program. It actually helps in that
8 everything gets double weighted, right, because
9 you get -- when we're counting carbon what we're
10 really doing is counting how much fuel it takes
11 to get something from A to B. And so you're
12 motivated, just on an economic basis, to reduce
13 that number anyway.

14 But when you're able to operate in
15 California and touch feedstock once instead of
16 twice, and you're able to touch fuel fewer times
17 and move things around less, it's you get the
18 benefit of the lower cost and you get the benefit
19 of the higher CI.

20 And so, you know, I would say the -- I
21 would say it's too early in the game to say what
22 our keys to success have been. I can tell you
23 where we're headed. Everything we're going to do
24 going forward is about continuing to drive CI
25 down in every way we can possibly get there. And

1 you get the double benefit of doing that. You
2 get the lower CI and, therefore, the higher
3 returns, and you get the lower cost.

4 So location is critical. I think Aaron
5 made a really good point about where you're
6 seeing these investments are kind of close to but
7 not in California. I don't think that's by
8 accident. Maybe we were either too foolish or
9 too optimistic to do something similar.

10 But look, the only way you're going to
11 really get there is to go right where the fuel is
12 getting used. And so, yes, it's a lot more
13 difficult to do business in the center of Los
14 Angeles County than it is to do it other places.
15 There's no easy pathway where we are, so it's got
16 to be a long-term commitment and long slog, but
17 the promise is built right into the LCFS.

18 COMMISSIONER MONAHAN: I'm curious, you
19 know, do you intersect with GO-Biz or any of the
20 folks in California? I mean, because we want
21 businesses in California, clean energy
22 businesses, to thrive. And we want to figure out
23 how we can overcome the barriers so that we can
24 make sure businesses can succeed here in
25 California producing fuel that we're going to

1 need for the future.

2 MR. GEBOLYS: Yeah.

3 COMMISSIONER MONAHAN: So are you
4 intersecting with GO-Biz and other interests --

5 MR. GEBOLYS: Look --

6 COMMISSIONER MONAHAN: -- in the
7 Governor's --

8 MR. GEBOLYS: -- yeah, and --

9 COMMISSIONER MONAHAN: -- Office
10 around --

11 MR. GEBOLYS: -- we do the very best we
12 can to recognize that we have to be part of a
13 joint solution. There's no one-company solution
14 here. It's going to have to be a broad industry
15 response for California to get to where
16 California needs to go. And there's nothing that
17 can't be replicated about what we are doing.
18 It's hard, it's really hard, but it can and will
19 be replicated.

20 There are some unique conditions. We are
21 a permanent oil refinery in L.A. And we are
22 intending to voluntarily give that up in exchange
23 for a much smaller permit to produce 100 percent
24 renewable fuels.

25 So there are unique conditions in any

1 particular site that makes it easier or harder.
2 But what Jen is doing down in San Diego is really
3 an important piece of the picture. What Crimson
4 Renewables is doing is really an important piece
5 of the picture. You know, there are a lot of
6 folks kind of swimming upstream to make these
7 liquid fuels on the diesel side increasingly
8 displacing diesel.

9 COMMISSIONER MONAHAN: Great. Well, I
10 hope you keep swimming upstream. I hope it gets
11 easier.

12 MR. GEBOLYS: It hasn't so far.

13 COMMISSIONER MONAHAN: Annie, I was
14 really curious to hear that ICAO is developing a
15 fuel standard. Can you just elaborate a bit more
16 on that, what that standard looks like, and how
17 similar it is to the California Low Carbon Fuel
18 Standard?

19 MS. PETSONK: Sure. What led the
20 International Civil Aviation Organization to
21 develop its approach is a commitment by
22 governments, which has been altered in the past
23 month but we can talk about that in a minute, to
24 cap, to limit the emissions, the carbon dioxide
25 emissions of international flights between

1 participating companies at the average of 2019-
2 2020 levels.

3 So the cap is set with the average of
4 2019-2020 levels and airlines must reduce
5 emissions down to that level or, if they can't
6 reduce down to that level, they must either
7 offset using approved offsets or burn alternative
8 fuels that meet ICAO sustainability criteria and
9 that achieves measurable reduction compared to
10 conventional jet fuel in an amount equal to their
11 emissions above the cap.

12 So in order to quantify how much
13 sustainable aviation fuel reduces emissions
14 compared to conventional jet fuel, ICAO could
15 have said, well, it's sustainable aviation fuel,
16 we'll consider it to be automatically zero
17 emitting, but it didn't do that. It recognized
18 that some of the fuels can be worse than
19 conventional jet fuels if they're not carefully
20 done if indirect effects aren't addressed and so
21 on.

22 So ICAO developed, and it took them six
23 years to do it, a set of methodologies for
24 quantifying the emission reductions of the
25 sustainable aviation fuels on a lifecycle basis,

1 including direct and indirect effects. I has a
2 set of pathways that are recognized. Also,
3 pathways have to be approved by the American
4 Society for Testing and Materials, ASTM, in order
5 to be used in the aircraft, from a point of
6 safety. And then once they're recognized
7 pathways, then they have to be certified as
8 meeting the ICAO sustainability criteria and
9 achieving at least a ten percent better than
10 conventional jet fuel emissions. That ten
11 percent threshold, we think, is way too weak.
12 And it was internationally negotiated among 190
13 countries.

14 Last month the house -- the U.S. House of
15 Representatives Transportation and Infrastructure
16 Committee introduced a bill that would provide
17 financial support for -- thank you, sorry -- for
18 --

19 COMMISSIONER MONAHAN: We need a little
20 levity these days. I was -- I thought it would
21 be more dramatic than a teenager.

22 MS. PETSONK: Okay. Thanks.

23 The House Transportation Infrastructure
24 Committee bill provides loans and loan guarantees
25 and grants for facilities that are going to build

1 new sustainable aviation fuel facilities. And it
2 requires a 50 percent better than conventional
3 jet fuel threshold but builds on the ICAO
4 standards. And so that, I wouldn't take the ten
5 percent as something that California would need
6 to adopt. It can go much more stringent than
7 that. And the LCFS has the effect of doing that
8 as well.

9 COMMISSIONER MONAHAN: But do the
10 airlines need it, though, to be a more efficient
11 airline? I mean, I've always thought about ICAO
12 setting efficiency standards, not fuel standards.
13 So with the ten perception, you know,
14 reduction -- or I'm sorry.

15 Could you meet -- could airlines meet the
16 standard, not just through liquid low-carbon
17 fuels but also by improving the efficiency of the
18 aircraft?

19 MS. PETSONK: The portion of the
20 standard, which is called the Carbon Offsetting
21 and Reduction Scheme for International Aviation,
22 or C-O-R-S-I-A, CORSIA, the portion of CORSIA
23 that sets the limit on emissions sets that as a
24 net limit, taking into account offsets and taking
25 into account alternative fuels, it does not

1 dictate to airlines how they meet that limit.

2 They can meet it by --

3 COMMISSIONER MONAHAN: Got it.

4 MS. PETSONK: -- flying few flights --

5 COMMISSIONER MONAHAN: Okay.

6 MS. PETSONK: -- which is what's

7 happening now and which is why the airlines went
8 back to ICAO and said, please, change the limit
9 from the average of 2019-2020 to 2019 only. And
10 ICAO has done -- has changed it, only for the
11 first three years, 2021, 2022 and 2023, then it
12 will reconsider what to do.

13 COMMISSIONER MONAHAN: Fascinating. The
14 Trump Administration has agreed with this?

15 MS. PETSONK: Yes.

16 COMMISSIONER MONAHAN: Fascinating. All
17 right. Well, I think that's it for my questions.

18 Commissioner Douglas, do you have any
19 questions before we turn it over to Tim to
20 facilitate the panel?

21 COMMISSIONER DOUGLAS: You know, maybe
22 just one or two.

23 One question, just kind of big picture,
24 because I haven't spent much time focusing on
25 aviation fuels and low-carbon fuels, but I know

1 it's difficult, it's more difficult to do, what
2 do you see besides the Low Carbon Fuel Standard?
3 Like how important is the Low Carbon Fuel
4 Standard in the big picture in getting this
5 industry off the ground? And what are some of
6 the other policies that would be needed to really
7 get it to scale?

8 Go ahead. Yeah.

9 MR. OLSON: Aaron, are you going to take
10 that one?

11 MR. ROBINSON: Sure. Thanks. Thanks for
12 that. Yeah.

13 I mean, I think the way I see it, there's
14 always been three key problems. One is the price
15 gap which, certainly, the Low Carbon Fuel
16 Standard is critical to reducing and solving that
17 problem. The other two problems, you know, are
18 more difficult but they can -- they have
19 solutions too. The first of them, I think, is
20 just the capital costs involved. So building a
21 biorefinery costs hundreds of millions of
22 dollars. And the problem is where is that money
23 going to come from?

24 Gene, you know, not to speak for Gene too
25 much here, but the World Energy expansion in

1 Paramount is on the order of, I think it's -- I
2 think it was like \$150 million or \$200 million,
3 something north of that, and that's just for an
4 expansion, not even to build a new facility.

5 And we're going to -- you know, I
6 mentioned, you know, also the scale of the
7 problem. So United, we're buying 700 million
8 gallons of jet fuel in California each year. And
9 World Energy, at best, could put out for us maybe
10 20 percent of that. And so, you know, you can
11 see you're going to need a lot more facilities.
12 And so, ultimately, we're going to need oil
13 majors (phonetic) and further financing to come
14 into that space and really drive that investment.

15 The third problem, I think, is one that's
16 really on the airlines, in fact, to solve and
17 it's how do we make this visible to customers?
18 And, really, the challenge for that is fuel right
19 now is invisible in our process to our customers
20 because we want it to be something they don't
21 have to think about or worry about. But we can
22 see very clearly with a lot of other
23 environmentally-friendly products, like your
24 newest Prius or Tesla, that those products are
25 designed and engineered to look different and

1 appeal to their consumer to be able to show those
2 green credentials. And that's something that we
3 haven't figured out how to do yet here.

4 COMMISSIONER DOUGLAS: So Annie?

5 MS. PETSONK: I'd agree with what Aaron
6 said in terms of the difficulties. And as we see
7 it, the aviation industry, having been hit hard
8 by COVID, is going to be it's going to be a
9 challenge for the aviation industry on its own to
10 finance what's needed.

11 COMMISSIONER DOUGLAS: Um-hmm.

12 MS. PETSONK: And so at the same time,
13 and this is something that I've actually learned
14 from Aaron, there are major customers of airlines
15 who have who are increasingly asking and
16 demanding that airlines fly sustainably because
17 those major customers want to reduce what's
18 called their Scope 3 emissions, that is the
19 emissions of the company associated with travel.

20 And so what's interesting for us is that
21 while Europe, there's starting to be significant
22 consumer pressure in favor of just not flying,
23 just don't fly, Get a sunburn, take the train,
24 take the boat. In the United States the train
25 and the boat may not be available and so we think

1 that people will want to continue to fly, they
2 will want to resume flying, but major customers
3 have had their employees, who might buy 10,000,
4 20,000, 30,000, 40,000 air tickets a year, have
5 been in front of video screens for the past four
6 months. And so those companies have started to
7 see that they can save a lot of money by flying
8 less.

9 If they do want to resume flying, we
10 think that they ought to help participate here
11 and take some of the money they've been saving
12 from not flying and devote that to helping defray
13 some of these costs so that they can be assured
14 and their employees can be assured that when they
15 fly, that flying is more sustainable.

16 Now how to bring that together is a real
17 challenge. But one of the things that we're
18 hearing from various governmental entities is
19 governments often buy a lot of air tickets. And
20 could governments participate in this kind of
21 approach? And that's something that we're
22 interested in discussing with other stakeholders.

23 COMMISSIONER DOUGLAS: Okay. All right.

24 Anyone else on this question?

25 MR. GEBOLYS: Yeah. Jen, you go first.

1 And then I've got a couple thoughts too.

2 MS. CASE: Yeah.. You know, obviously,
3 aviation is a really important piece of the
4 puzzle for the future. My entire presentation was
5 about something we can do right now that is a
6 very low-cost solution to decarbonizing the
7 heavy-duty sector. It's very expensive to do
8 business in California. I can speak to that.
9 I've been doing it for 13 years. It is very,
10 very difficult. I am currently waiting on a
11 permit that's in the city that's been, you know,
12 18 weeks because of COVID and I'm pulling my hair
13 out. And, you know, I know it has to be done but
14 it's challenging.

15 What we're asking for right now for
16 infrastructure de-bottlenecking is really cheap,
17 \$0.50 to \$0.75 per metric ton over the next ten
18 years with ridiculously huge emissions reductions
19 because we can't build a bunch of renewable
20 diesel plants quickly to solve a lot of these
21 problems. But you know what? A lot of people
22 already have in other states.

23 So the question is: How can we get that
24 product in here, into California, to meet these
25 standards and really help out the instate

1 producers by reducing this perpetual glut and
2 making it easier to get to the end user?

3 COMMISSIONER DOUGLAS: Um-hmm.

4 MR. GEBOLYS: Well, Commissioner, I think
5 that the question is: What can the State of
6 California do to foster advancement; right? And
7 I completely agree with what Jen just said in
8 terms of direct investment at critical spots.

9 You know, it's well documented that but
10 for the collapse of the economy in 2008 and the
11 responding stimulus money that came out in 2009
12 that Tesla would not exist.

13 You know, this notion that you're going
14 to get the kind of fundamental shift that comes
15 from companies like Tesla -- I'm a proud Tesla
16 myself. I am one of the first 10,000 and bought
17 that, not because it was a car but because it was
18 important beyond it being a car, but that didn't
19 just happen. That was a result of a direct
20 investment from the government in making
21 something happen that wouldn't otherwise happen.

22 So the backbone of all of this is the
23 LCFS but -- and that's a critical backbone.
24 Without it, you don't get people swimming
25 upstream, or whatever the analogy that Jen just

1 used was. You don't choose to do the hard stuff
2 if you've got an easier path.

3 COMMISSIONER DOUGLAS: Um-hmm.

4 MR. GEBOLYS: But what is not going to
5 happen is the State of California investing in
6 plants in Nevada and Oregon and elsewhere.

7 COMMISSIONER DOUGLAS: Um-hmm.

8 MR. GEBOLYS: And so if you can
9 facilitate around the edges the critical
10 investments that allow us to try to get a little
11 bit farther out there on carbon capture, that
12 allow us to get a little bit farther out there on
13 infrastructure that wouldn't otherwise happen,
14 those little small things around the edges are
15 what make the difference.

16 We didn't go from the abacus to the
17 iPhone. We got there because of government
18 investments. And, unfortunately, the reality is
19 California is the first mover. California's got
20 the lead. California is in the best position to
21 succeed but it requires continued investment.

22 COMMISSIONER DOUGLAS: Okay. Well, I
23 think we should probably -- I think those are all
24 of my questions. But I appreciate all of your
25 participation and responses today.

1 MR. OLSON: Very good. So I think we can
2 now continue on with some moderation -- moderated
3 questions here. So thank you very much. Good
4 discussion up to this point.

5 I want to ask a question of all of you.
6 And I don't know if you heard Jeremy Martin's
7 presentation this morning on a different panel?
8 He did an overarching kind of outlook of what the
9 potential sources are and the contributions, kind
10 of broad based, even though he was a lead-in to
11 the biomethane, his comments were valid for
12 pretty much all the low-carbon fuels.

13 And Jeremy Martin is with the Union of
14 Concerned Scientists. He has done some of his
15 own studies with other UCS staff. And he
16 referred to other analytical work that had been
17 completed. And you know, for the most part, he
18 said we need contributions from a lot of
19 different low-carbon fuel sources. And they all
20 have -- each one of them has pros and cons. And
21 he noted that, you know, this preference for
22 waste-based feedstocks and to create either
23 biomethane or a low-carbon liquid biofuel.

24 And his point was he was kind of
25 surmising that we're going to reach a point where

1 there's a limit, not for reasons that -- some of
2 those have to do with competition for other
3 products. Some of them have to do -- there's --
4 is there a finite limit on just the waste-based
5 feedstocks? And this kind of turmoil over
6 whether certain products make sense to pursue,
7 like the palm fatty acid distillate and which,
8 you know, you could describe it as it's kind of
9 like corn oil, it's a byproduct cold product, a
10 base product from the ethanol production process
11 but it's used in biodiesel production. And it's
12 eligible for LCFS credits.

13 And so I guess I'm kind of wondering what
14 your insights are and views are about this? I
15 don't know if it's an assertion but just an
16 outlook that there may be limits for
17 transportation fuels. And is -- what's the best
18 use of those residues compared to, as Annie
19 pointed out, there might be competition for the
20 same product producing cosmetics, waxes, other
21 kind of products?

22 So I'd like to start. Jennifer, I'd like
23 to start with you on that. And if you have any
24 insights or just viewpoints on that? And you
25 need -- there you go.

1 MS. CASE: Thanks. Hi Tim. Yeah,
2 thanks. Can you repeat the last part of your
3 question? Because I was -- there was a lot in
4 there.

5 MR. OLSON: Well, just kind of this point
6 that is there a limit? Is there a limit? And he
7 was surmising that there is a limit on waste-
8 based feedstocks.

9 MS. CASE: Got it.

10 MR. OLSON: And particularly if you look,
11 not only in California but across international.
12 And as Commissioner Monahan was posing earlier
13 this question about if you have -- with Arpit --
14 if you have some replication of the LCFS in other
15 states and other countries, will there be a
16 diversion of that kind of waste-based material to
17 other locations?

18 MS. CASE: Yeah.

19 MR. OLSON: And then you've got this
20 competition for other products, so to speak.

21 MS. CASE: Yeah. I mean, when I first
22 started in this industry, you know, back in 2006,
23 the concept that we would ever get to, you know,
24 4 billion gallons of biodiesel in the United
25 States was, you know, super farfetched because

1 there just wasn't that much feedstock, you know,
2 even if you add in all the soybean oil and canola
3 oil that was grown across the whole country.
4 But, you know, here are we, you know, ten years
5 later with crop fields being, you know, historic
6 and continuing to find new ways to recycle
7 cooking oils and animal fats and everything else.

8 So it's hard to say what we're going to
9 see in the next ten years. I do believe in
10 innovation and I do believe that we're going to
11 continue to find new ways to meet the demand for
12 these things. Sure, there will be diversion, I'm
13 sure, from, you know, other parts of the country.

14 I am familiar right now, we are partners,
15 with a rendering company that has, you know,
16 international rendering facilities. And there is
17 still a lot of cooking oil that's going overseas.
18 It's not staying here because there's still a
19 huge market.

20 So I think we have a lot. I think we
21 still have a lot to grow here. But I think there
22 needs to be innovation as well.

23 MR. OLSON: And, Annie, what's your view
24 on this question?

25 MS. PETSONK: So, for me, it depends on

1 the rules. If the rules are well crafted they
2 will incentivize, first, going after the waste-
3 based and, second, going into, then, more
4 expensive materials. For example, at the kind of
5 other end of the spectrum from the cheapest base-
6 based sources, it might be direct air capture,
7 carbon prepared with hydrolysis of water,
8 provided you can generate enough renewable
9 electricity to power those two processes, put
10 them together, and you get a hydrocarbon. That's
11 a really complicated process. And so far, humans
12 haven't figured how to do it better than plants
13 do, but people are working on it.

14 If the rules are lax, you get things --
15 let me use the cooking oil, for example -- you
16 get these chicken-leg problems where a restaurant
17 puts the chicken leg in the cooking oil and says,
18 oh, it's now used and sells it because you can
19 get a higher price for the used cooking oil in
20 the LCFS-type market than you can otherwise.

21 And so crafting the rules is really
22 important. It's like taken ICAO six years, even
23 building on the strong work of the LCFS, to focus
24 on direct and indirect emissions.

25 And it's why the interaction with other

1 policies is important. For example, in the case
2 of crop-based renewable fuels, there's concern
3 that the crops might result indirectly in
4 deforestation up the value chain in other
5 countries as lands are deforested to supply crops
6 and those countries to meet their demand where
7 their crops were previously -- were being
8 diverted to meet California's or LCFS demand
9 elsewhere.

10 California has the tropical forest
11 standard under AB 32. It provides a
12 counterbalance against that and, certainly,
13 having strong sustainability criteria providing
14 for the counterbalance.

15 So just to draw a line under it, rules
16 really matter to get the incentives right.

17 MR. OLSON: Very good.

18 And, Aaron, I'd like to hear your
19 comments. You know, your company, you mentioned
20 you have an offtake agreement with Fulcrum, a
21 company in Nevada, which has generated a biocrude
22 and liquid-based bioproduct from MSW. But that
23 same conversion process could be woody biomass
24 too.

25 Is that -- first of all, do you have any

1 comments on the overall questions? And then
2 what's the role of these more advanced
3 technologies that could come into play that take
4 advantage of really difficult kind of waste
5 greens, the woody biomass, agricultural orchard
6 prunings, all the different kind of waste in the
7 valley and these forest issues?

8 MR. ROBINSON: Well, certainly. So
9 there's a lot to unpack and that's -- but, yeah,
10 I'm absolutely concerned about the optimal use of
11 feedstocks.

12 I mean, for us, back in 2011, we signed
13 an agreement, our first, in fact, purchase
14 agreement with a sustainable fuel producer. And
15 then, three years later, when oil prices fell
16 they looked at the market and they said, "We
17 don't think there's a future in jet fuel." And
18 so, today, they're still in the market but
19 they're producing exactly that, cosmetics, from a
20 lot of the same processes. And so, you know, you
21 may have an efficient market today but that
22 doesn't necessarily mean that those are the
23 optimal uses of your resources tomorrow.

24 So, certainly, if you look at heavy
25 transport in particular, it's going to take

1 longer to decarbonize that than road fuels, for
2 instance, and electrifying that. I mean, if you
3 have range anxiety in a Tesla today, imagine
4 feeling range anxiety when you're over the
5 Pacific.

6 So, but yeah, I mean, I agree with Annie.
7 There's definitely -- I don't think there's a
8 limit to having it be just waste feedstocks. You
9 know, ten years ago no one was even thinking
10 about waste feedstocks hardly at all. It was all
11 about crops. You know, in the last few years,
12 we've started thinking beyond waste, even, and
13 recognizing there's a lot of carbon dioxide in
14 the air we can capture and, in some sense, need
15 to capture to avoid climate change impacts.

16 So I don't think there's a single
17 solution to any of these problems. I think it's
18 really a multitude that we're looking for.

19 MR. OLSON: And, Gene, you're in a unique
20 position. You're ramping up pretty significant
21 volumes. Is this issue of maybe a limit on
22 feed -- low-carbon feedstocks an issue for you or
23 do you anticipate that?

24 MR. GEBOLYS: Well, yeah. Obviously, if
25 you're spending the kind of money that we're

1 spending, you've got to have a pretty good feel
2 that you're going to be able to source the right
3 feedstocks to make it all work.

4 But -- so, yes, we look at these as
5 global markets. Energy markets tend to be global
6 markets. Agricultural markets tend to be global
7 markets. So we will have to source globally from
8 wherever we can get the most appropriate
9 feedstocks and have the greatest flexibility
10 possible to run as many as possible. And then
11 the markets will do what the markets will do in
12 pricing carbon. And the markets are pretty
13 efficient at finding the right balance between
14 various feedstocks relative to their carbon
15 impacts.

16 I think Annie pretty much hit the nail on
17 the head. If you get the rules right then the
18 markets will do what they need to do.

19 I think, you know, if I can step back
20 just a bit from palm fatty acid distillates and
21 the more specific approach and just look a little
22 bit more broadly, you know, if you looked in 1880
23 at people poking holes in the ground in
24 Pennsylvania and saying, well, there's not nearly
25 enough of that black stuff coming out that could

1 power all these kerosene lamps that light up
2 London and New York and everywhere else, this
3 doesn't make a lot of sense, why would we do
4 this? You would never have the oil industry that
5 we have today. They didn't know 140 years ago
6 what they know now about getting after hard to
7 get to sources of oil.

8 And even what Jenn was talking about, 13
9 years ago, you know, 13 years ago the Chinese
10 hadn't grown at 7 percent annually, at least, for
11 13 years. And their diets didn't change. And
12 the -- where 13 years ago there was almost no
13 used cooking oil industry in China because they
14 would just continue to use cooking oil until it
15 would go away. Now they're moving towards best
16 practice of changing out oil. It's not healthy
17 to continue to cook with used oil. Their diets
18 have moved in such a way that there's a lot more
19 feedstock coming out of Southeast Asia and the
20 developing world in general. I don't know that
21 we all would have predicted that 13 years ago.

22 But I guess the point relative to
23 feedstock is markets drive everything. And so
24 there's been a lot of talk about algae (phonetic)
25 for many years. There's a lot of uphill sweating

1 that still needs to be done relative to algae.
2 But the oil guys didn't get there in a week
3 either. So unless you take the steps you can
4 take you don't get to the places that you need to
5 get to.

6 And so I think as it relates to all
7 feedstocks, I certainly understand, appreciate
8 and support what Annie was talking about, about
9 not creating unintended consequences around
10 feedstocks, that's absolutely spot on. But we
11 need to be cognizant of the fact that any source
12 of fuel needs to go through its periods of
13 innovation and transition.

14 So I don't have a particular thought one
15 way or the other about PFAD. I do think there
16 are lots of waste streams that can be captured,
17 whether it's woody biomass streams or municipal
18 waste solid waste streams or others that can be
19 captured for deployment into low-carbon fuels.
20 But I just would encourage a broader, longer
21 view.

22 MR. OLSON: Let me, Gene, let me just ask
23 this: Are you aware, are any of the other panel
24 members aware, of studies that have kind of dug
25 into this in a deep manner to really address that

1 kind of -- whether there's a limitation?

2 MR. GEBOLYS: We're in the middle of one
3 right now. This is probably our sixth or seventh
4 or eighth. We're constantly evaluating what the
5 future looks like in terms of feedstock. And
6 it's always changing. If I pull one off the
7 shelf from three years ago it will be a lot
8 different than the one we're just working on now.

9 MR. OLSON: Okay. Yeah, go ahead, Annie.
10 Un-mute yourself and go ahead.

11 MS. PETSONK: Thanks. So ICAO has also
12 done a lot of work in this area. And I'd be
13 happy to go back and look at what their most
14 recent analyses are and send those along, if that
15 would be helpful?

16 MR. OLSON: That would be helpful. We
17 always like to put those kinds of documents in
18 our public docket record.

19 Okay, so I have another question and it's
20 related to -- triggered by another comment that
21 Jeremy Martin made this morning, and then kind of
22 reinforced by Arpit in the LCFS presentation, and
23 that's the growth in this area, and particular in
24 California, the growth of liquid biofuels.

25 And Jeremy described -- he presented some

1 information, primarily from DOE EIA data
2 nationally, that five percent of the
3 transportation market in 2019 came from
4 alternative fuels. Well, our data in California
5 shows it's more like 12 percent is -- combining
6 all the alternative fuels. And in 2018 to 2019,
7 it grew one percent. I mean, that was the kind
8 of trend. I don't know what that -- whether that
9 same thing occurred from 2019 going into 2020.
10 That has to be analyzed. But it looks like, when
11 he mentioned 800 to 900 million gallons of
12 renewable diesel, diesel substitutes, that's a
13 significant trend.

14 And I guess one of the -- the question
15 here is kind of two part, depending on how you
16 see the kind of circumstances, is what government
17 intervention actions or conditions in the
18 marketplace, circumstances in the marketplace,
19 will -- do you see a continued growth in this
20 area or do you see any kind of slowing because of
21 the stock market slowing a bit more in growth?

22 And so I would like to start with, maybe,
23 with Jennifer going first.

24 MS. CASE: Tim, your voice cut out just
25 for a second there, you were -- at the very end.

1 I think I understand your question saying, do we
2 expect there to be continued growth? And that
3 answer to that is, absolutely, yes. As Gene
4 said, you know, markets are driving everything.
5 And the Low Carbon Fuel Standard is going to
6 continue to be a driver.

7 As it steps up every year, it's going to
8 be more and more dramatic how many fuels are
9 going to be sent here. Now that will be, you
10 know, significantly offset over time as other
11 low-carbon fuel standards happen around the
12 globe. And that's a good thing because we -- you
13 know, I would prefer, as somebody who focuses on
14 making sustainable biodiesel, that fuels stay in
15 their home town. That's best for everyone.
16 Eventually, low-carbon fuel standards should pop
17 up everywhere and that will help decarbonize the
18 world.

19 But, yeah, I believe the market will
20 continue to grow. I think that the type of fuels
21 will definitely evolve. I think that we may see,
22 even, fuels that we don't see yet today before
23 the end of this, the end of the program in 2030.
24 So I'm excited for the future and the new fuels
25 that may come along.

1 MR. OLSON: And, Aaron, along the same
2 lines, how do you see this? You're in an
3 industry that's facing some significant softening
4 of demand in air travel. Do you see a growth
5 potential? And what's really driving that for
6 the airline industry to kind of shift to a
7 sustainable fuel or sustainable options?

8 MR. ROBINSON: Sure, Tim. Yeah. I mean,
9 I think, despite the crisis, sustainability may
10 be a bit on pause for the moment for aviation
11 and, perhaps, many other industries as well. But
12 I think long-term plans and commitments really
13 still remain in tact.

14 You know Jennifer talked about still
15 seeing continued growth. I mean, I don't think I
16 can ever think of a time when history really
17 moved in a straight line. And you know, during
18 this crisis, people are really seeing and
19 enjoying the environmental benefits that they're
20 encountering in the short term.

21 I mean, I was in L.A. a few months ago
22 and I could see the mountains pretty clearly.
23 You know, there's less noise and other kinds of
24 pollution as well. And, ultimately, people
25 aren't going to give this back. So

1 sustainability is remaining on the long-term
2 agenda for companies and society as a whole.

3 So you know, in sustainable low-carbon
4 fuels for aviation, we've seen market hits
5 delaying developments before. Oil fell in 2014.
6 And you know, we're seeing other kind of,
7 obviously, bit challenges today. I think the
8 silver lining is that these are all happening
9 simultaneously instead of sequentially one after
10 the other. So we can, hopefully, get through
11 these as quickly as possible and get back to the
12 course we were headed before.

13 MR. OLSON: Very good. Thank you.

14 Annie, your focus has tended to be on
15 aviation jet fuel. And what's your sense about
16 this as a growth area?

17 I mean, some of my colleagues in the
18 state government are uncertain about what can
19 happen in this area because we don't have any
20 real state government authority over that
21 industry like we do in some of the on-road
22 vehicles and some of fuels.

23 And so would an international standard be
24 a factor in this, either as a stimulus to go in a
25 more low-carbon direction or may preclude some

1 kind of future development?

2 MS. PETSONK: This is why, when I was
3 referring to the potential tools for overcoming
4 the hurdles that Aaron identified as far as cost
5 and demand, that I maybe a bit obliquely
6 suggested that California can look at it's role
7 as a demandeur (phonetic) of aviation-related
8 services. I don't know. And I apologize, I
9 should have done this homework before this
10 meeting but I wasn't able to do it.

11 But in terms of the air tickets that
12 California institutions purchase, whether those
13 are institutions of higher education or
14 government agencies, and also the -- if
15 Californians -- if California State Government
16 utilizes air cargo services, I don't know if they
17 do, but air cargo has not seen nearly as
18 precipitous a drop in utilization as the
19 passenger services have, so much so that many
20 passenger flights actually have converted to
21 carrying more cargo than they otherwise would in
22 the belly of the aircraft.

23 And so to the extent that California can
24 tap into its role as a demandeur, there may be
25 leverage that California could apply in its

1 purchasing -- government purchasing power that it
2 could build on the LCFS, the ICAO standard. And
3 it helps stimulate even further that market
4 development.

5 MR. OLSON: Very good. Appreciate that.

6 Gene, I would like to hear whether you
7 have a comment on that question, that overall
8 question, and if you have any insights?

9 We've talked mainly about diesel
10 substitutes and aviation -- petroleum aviation
11 substitutes and haven't really addressed the
12 gasoline substitutes. So if you could respond to
13 the overall question? But if you have any
14 insights about what potential growth areas might
15 occur and/or not growth areas that could occur in
16 the gasoline substitutes? Any comments there?

17 MR. GEBOLYS: Sure. I absolutely think
18 that California has a role to play. Hats off to
19 CARB for including aviation fuel in the LCFS.
20 That's one really important example of the role
21 that California plays.

22 For those of us who didn't grow up in
23 California, it's kind of like having -- it's like
24 having this big brother or big sister who's like
25 really good in school or whatever and always

1 tends to lead.

2 And so what California does is so
3 important, not only for the markets but also for
4 the symbols and the messages sent when California
5 does things, like CARB including aviation fuel in
6 the LCFS.

7 So as far as aviation being some -- you
8 know, people say, well, it's controlled by the
9 federal government in the U.S. And so the state
10 and local municipalities have, really, less to
11 say about what kind of fuels get used in the
12 state, California has plenty to say about what
13 gets used in its state. And we want to continue
14 to recognize that role and continue to be active
15 in it.

16 So does the market. If you look at --
17 Arpit was good enough to mention the deal that we
18 just did with Amazon but, in fact, we did that
19 deal with Amazon and Shell. And I thought it was
20 a really important deal, not just for the volumes
21 of fuel that it moved, but as a precursor to kind
22 of where things are headed.

23 So Amazon is an amazing story; right? In
24 these last few months, all of our doorsteps have
25 just been cluttered with Amazon products; right?

1 It's just all of a sudden this is just how we get
2 stuff. Well, they didn't just originate at the
3 doorstep. They had to get there. And so as
4 Amazon is going through its amazing growth, they
5 simultaneously have committed to zero-carbon
6 emissions by 2040. So think about their growth
7 and think about that commitment. And think about
8 the folks in the Skunkworks project at Amazon
9 that have to find how those two things fit
10 together.

11 So their social license -- you don't get
12 to be Amazon and continue to grow at their rate
13 if you don't care about your interface with
14 society. Their social license depends on them
15 making huge leadership strides to be able to
16 continue to grow their business. Otherwise, they
17 can't grow.

18 If you look at somebody like Shell, who
19 is primarily a fossil fuels-driven business today
20 and a very, very large one but one that has taken
21 a very public stance to transitioning to a
22 company that distributes lower-carbon fuels, they
23 can't just talk about it. They've got to
24 actually take action to doing it. You know, it's
25 no easier to turn one of their tankers than it is

1 to turn that company.

2 But that deal was really important
3 symbolically to show that, where Shell is going
4 with their business, where Amazon is going with
5 their business. And it's not about just getting
6 out a green press release. This is fundamental
7 to who they have to become to have social license
8 to continue to grow.

9 And so the marketplace, ultimately, if we
10 could close our eyes and then kind of open them
11 in 2035, we could easily imagine a carbon-priced
12 world. And in a carbon-priced world, your social
13 impact gets priced into everything you do. So if
14 you're moving your t-shirts made in Bangladesh to
15 stores in St. Louis, that all gets priced in.

16 And so the entire complex, thinking about
17 doing things more efficiency, reducing carbon
18 impact, the social cost of energy being priced
19 into things, this isn't something that's just,
20 you know, being done in, you know, NGOs in the
21 corners. Some of the largest businesses on the
22 planet are looking at how does the world shift
23 and how do we lead that shift?

24 MR. OLSON: Very good. I have a question
25 for Jennifer.

1 And Jennifer, I wondered if you can just
2 elaborate a little more about this distribution
3 of biodiesel and how critical that there's a
4 challenge, there's an impeding there, and how
5 critical that is in expanding volumes of fuel
6 delivered into the market?

7 MS. CASE: Yeah. It's really critical.
8 It's critical, not only because it will bring in
9 more fuel, but it will -- it's critical because
10 it's going to help also bolster the instate
11 production of fuels, which it really kind of
12 sounds strange that making it easier to bring in
13 fuels from out of state and our of country would
14 actually help instate, but it will because it de-
15 bottlenecks the system and it avoids a perpetual
16 glut.

17 When you think about it like this, like
18 when a big, huge ship comes into the port of L.A.
19 and there's huge amounts of product that have to
20 get out very quickly, and then you have a plant
21 like mine, who's in California, who's running
22 and, you know, running as much as we can, and now
23 I have to price compared to this huge system that
24 came into the port. I have to lower my price
25 and, potentially, lose out because I can't afford

1 to compete. Because I'm in California, I'm a
2 smaller facility, I have to comply with all the
3 California rules, it makes it a lot harder to
4 operate here and more expensive. So I would have
5 to sell fuel at a loss to be able to compete with
6 some of this fuel that's coming in.

7 Now if that shipment that came in from
8 the port had more places to go, instead of just
9 having to be forced into the petroleum
10 distribution complex, that fuel wouldn't be
11 discounted so much. So it helps me be able to
12 compete and spend more of my own money investing
13 and making my plant more efficient and making my
14 plant larger so that I can compete with those
15 out-of-state and out-of-country programs.

16 Does that make sense?

17 MR. OLSON: Very good. Yes.

18 So I have one kind of final question.
19 And I'd like to kind of explore this as a
20 lightning round. So within like 30 seconds each,
21 what are the top one or two things you're
22 recommending to the State of California as an
23 action related to this topic today?

24 Let's start with Aaron.

25 MR. ROBINSON: Sure. Thanks. I would

1 say what I'd love to see is a multiplier for
2 aviation fuels, sustainable aviation fuels, such
3 that it helps equalize the price gap with
4 renewable diesel.

5 MR. OLSON: Very good.

6 How about you, Annie?

7 MS. PETSONK: I'd like to see California
8 update the LCFS to take into account indirect
9 emissions so that it's at least the level of
10 environmental integrity that ICAO has developed
11 and move beyond that.

12 And then I'd also like to see California
13 send its demand for jet fuel in favor of
14 sustainability.

15 MR. OLSON: Very good.

16 And Gene? Gene, what's your top one or
17 two things you're recommending?

18 MR. GEBOLYS: Thirty seconds, huh?
19 That's impossible.

20 The most important thing is you got to
21 sustain the investment. You've got -- the house
22 is half built. You have to sustain the
23 investment. You have to stay in there over the
24 long haul. And, if you do, you get the economic
25 and environmental benefits that go with the first

1 mover position. If you don't you start to see a
2 continuation of this everywhere-but-here kind of
3 investment pattern.

4 I think it's absolutely critical that
5 California stays the course on investment.

6 MR. OLSON: And I'm going to give the
7 last comment to Jennifer.

8 What's your recommended action or
9 actions?

10 MS. CASE: Well, unless you can eliminate
11 CEQA for me, which I'm pretty sure you can't, I'm
12 going to say -- a broken record here -- invest in
13 dedicated renewable fuel terminals outside of the
14 petroleum fuel terminals.

15 MR. OLSON: Very good. I think we've
16 come to the close. I really appreciate your
17 comments, these are real, lots of deep thought
18 here across the board. And thank you very much
19 for joining us today.

20 And I'd like to, then, return this back
21 over to Heather and then, maybe, Commissioner
22 Monahan for final comments.

23 MS. RAITT: Thanks Tim.

24 So, actually, we'll go ahead and move
25 over to Michael Comiter for -- to help us with

1 some Q&A from attendees.

2 MR. COMITER: Hi. Thank you.

3 So we have two comments so far, one from
4 Tanya, Tanya Kahn (phonetic).

5 "Could Aaron expand upon the connection
6 between sustainable fuels and air quality?
7 And is this analysis he mentioned published
8 and available for participants to read?"

9 MR. ROBINSON: Yeah. Certainly. Tim,
10 I'm not sure if I'm able to share my screen or
11 not. Is that allowed? I see a button for it.
12 Tim, I can't hear you.

13 MR. OLSON: Maybe Harrison can help us in
14 that?

15 MR. ROBINSON: I will give it a shot.
16 Oh, it's been disabled, but we might be able to
17 reenable it. I'll try it again in a moment.

18 Yes, so that analysis is available. It's
19 actually, there's been two kind of compilation
20 studies published, as it were. The first was one
21 that was actually part of the process of
22 including jet fuel in the LCFS. And then the
23 second was, essentially, a reread of, really,
24 all the same content. But that was published by
25 the Transportation Research Board at the federal

1 level. And that was looking at a number of
2 studies conducted by various agencies, including
3 the FFA, NASA, Air Force Research Laboratory.

4 I will, if I can't share the screen in a
5 moment, I will type out a citation for it so
6 people can take a look and find it on their own.

7 MR. OLSON: Yeah, Aaron. Aaron, you have
8 authority to share your screen.

9 MR. ROBINSON: There it goes. So let me
10 maximize this.

11 So, I mean, here's a look at it. On the
12 left side you've got, of course, your greenhouse
13 gas emissions that we're looking at. But then on
14 the right side, really, are a number of other
15 pollutants, as well, on the local air quality
16 level, so you know, ranging from nearly 100
17 percent reduction to, you know, for NOx, kind of
18 a ten percent level.

19 And what we've actually done is we've
20 done, at United, we've done some preliminary look
21 at the social value of this and we think it's in
22 the range of anywhere from \$0.10 to \$0.40 a
23 gallon, depending on how you quantify the health
24 benefits connected.

25 And to also show the citation here, I'm

1 going to zoom in a bit. And then I'll also put
2 it in the comment box, as well, the title of this
3 Airport Cooperative Research Program Report, as
4 well, so I'll paste this in the box.

5 MR. OLSON: Very good. Thank you.

6 MR. COMITER: Thank you for that.

7 And then next question is touching on
8 some elements that were already discussed in some
9 way before but it's a little bit more specific.
10 And Gary -- this is from Gary Hughes -- Gary
11 Hughes mentions,

12 "There was a webinar earlier this year from
13 an expert from Ocean Park that highlighted
14 some of the risks of relying on palm oil and
15 other vegetable oils for aviation fuels and
16 was also critical about the limited prospects
17 of SAF based on new feedstocks, like woody
18 biomethane.

19 "So one, how can the public be sure that palm
20 oil and other vegetable feedstocks do not
21 continue to be integrated into our global
22 biofuel sector?

23 And then the second part of the question is,

24 "How can the public be sure that the
25 prospects for new biofuel technologies from

1 feedstocks, like woody biomass, are not being
2 exaggerated by industry stakeholders?"

3 MR. GEBOLYS: I think Annie kind of spoke
4 to this earlier. I can just say, her point made
5 earlier about getting the rules right is spot on.
6 She referenced that it took six years of
7 development on the project regarding aviation
8 fuel. You know, the economics are going to
9 follow the incentives, and you've to get the
10 incentives right, and it's not easy. And having
11 said that -- and, you know, nobody has --
12 nobody's perfect. And CARB's not perfect and
13 nobody else is perfect. But -- so there's an
14 exercise in the closest thing we can get to
15 perfect.

16 You know, CARB has done a better job of
17 trying to quantify getting the incentives right
18 all the way back to the origin of feedstocks
19 than, virtually, anybody else in the world, and
20 they're taking a leading position in doing that.
21 But, again, even regulations, you got to do them
22 and then you got to redo them, and then you got
23 to redo them and you got to keep making them
24 better and better. But the idea that you don't
25 take any action because you might get it wrong

1 certainly isn't one that is going to lead the
2 change we're looking to have.

3 MR. OLSON: Michael, Annie had her hand
4 raised, maybe on this other question, too.

5 MS. PETSONK: Thanks. If I could just
6 add to that?

7 Transparency is really important here.
8 It's really important that the public have access
9 to information about what fuels are being used,
10 what feedstocks and how they're being used, and
11 what the emissions consequences of them are.
12 ICAO has certain transparency measures built into
13 its system. And I just want to underscore that,
14 in our view, that information should be publicly
15 available.

16 That raises questions for airlines
17 because one of the things that airlines jealously
18 guard is how much fuel they're using. That's,
19 commercially, very sensitive information.

20 But when the United States imposed a
21 limit on sulfur dioxide emissions from large
22 coal-fired power plants the electricity companies
23 said, oh, we can't possibly publish the
24 information on how much fossil fuel we're using.
25 That's too commercially sensitive. Congress made

1 them do it and it has proven to a very important
2 adjunct to the transparency of the system's
3 limiting conventional pollutants from power
4 plants. Transparency can be your friend and it
5 needs to be implemented here.

6 With regard to the point about
7 sustainable aviation fuels having lower emissions
8 of some pollutants than conventional fuels, we
9 think that's a very important aspect of
10 sustainable aviation fuels. And one of the
11 things that California can do is make sure that
12 those benefits get realized.

13 When fossil fuel comes into the aircraft,
14 it's got some gunk in it. It is -- there are,
15 often, toxic compounds and other materials that
16 help, actually, make the seals in the fuel lines
17 of the aircraft tight. I'm oversimplifying here.
18 But if you're going to put a very pure
19 sustainable aviation fuel into the aircraft, thus
20 far, ASTM has only certified those fuels up to a
21 50 percent blend because there's a risk that, at
22 higher levels, some of those fuels could leak out
23 from the way the seals are currently constructed
24 in the aircraft.

25 Obviously, you don't want the fuels to

1 leak out. But the solution to that should not be
2 to add more pollution, more polluting molecules
3 to those sustainable aviation fuels in order to
4 get them to be useable in the aircraft. Your
5 solution should be to retrofit the aircraft,
6 creating more jobs, and having both the benefits
7 of lower carbon emissions and better air quality.
8 And given California's particular air quality
9 concerns around large airports and their
10 proximity to disadvantaged communities, I would
11 think that this would be a high-priority issue
12 for both the California Energy Commission and
13 CARB to take a look at.

14 MR. GEBOLYS: Tim, can I --

15 MR. OLSON: Gene, you have your hand
16 raised.

17 MR. GEBOLYS: Yeah. I was looking for
18 how I do that electronically, but you would think
19 we would all know how to do that as this point,
20 but I had to go old school and just raise my
21 hand.

22 I wanted to follow up, if I might, just
23 quickly on something that Jennifer was talking
24 about earlier? And I think she kind of jokingly
25 said, you know, unless you could do something

1 about CEQA, you know, she gave a different
2 investment-based answer. And you know that
3 answer has been kind of bouncing around in my
4 head since she gave it.

5 Look, when we're doing our project, we're
6 treated exactly like any oil refinery is in the
7 permitting process and that's not easy. The fact
8 is, we're doing something very different than
9 what they're doing.

10 And so if I could just put an appendix on
11 my earlier answer about what can the state be
12 doing? You've to recognize, when Jen's trying to
13 do what Jen's trying to do, or we're trying to do
14 what we're trying to do, the state should
15 appreciate that and make that permitting process
16 different because the products are different, the
17 roles of the facilities, and the overall social
18 welfare of the state is different, and that ought
19 to be recognized.

20 So I know it was a little off topic but I
21 couldn't get Jen's answer out of my head.

22 MR. COMITER: All right. Thank you.

23 And with that, I'll turn it back over to
24 Heather.

25 MS. RAITT: All right. Thank you,

1 Michael. Thank you, Tim. And thank you to all
2 the panelists. That was really helpful.

3 And so now we'll just go on to move to
4 the public comment period. And we have RoseMary
5 Avalos from the Public Adviser here to help us.

6 And I'll just remind folks to go ahead
7 and use the raise-hand function in Zoom to let us
8 know that you'd like to make a comment. And if
9 you're on the phone, use -- just press star nine
10 and that will raise your hand virtually from the
11 phone.

12 So go ahead, RoseMary.

13 MS. AVALOS: Thank you, Heather.

14 I will first call on attendees using the
15 raise-hand feature on Zoom. And please state
16 your name and affiliation and spell your first
17 and last name. And, also, do not use the speaker
18 phone feature because we may not be able to hear
19 you clearly.

20 Robert -- Rob McGinnis, your line is
21 open.

22 MR. MCGINNIS: Hi. This is Rob McGinnis.
23 My affiliation is I'm the Founder and CEO of
24 Prometheus Fuels. And my name is spelled R-O-B
25 M-C-G-I-N-N-I-S. And I want to say thank you for

1 the opportunity to speak.

2 The thing I wanted to comment on is
3 direct air capture-based fuels. So I think it
4 was mentioned briefly but, for the most part, not
5 really discussed. And this is the technology
6 where you use direct air capture of carbon
7 dioxide from the air. And you use solar and wind
8 power to convert that into renewable gasoline and
9 jet fuel that have a carbon intensity of zero.

10 And so this is something that we've been
11 working on at Prometheus Fuels. And I think the
12 key to this is being able to do it on a price
13 which is competitive with fossil fuels because,
14 although we want to electrify transportation, we
15 might want to move to alternative fuels, like
16 hydrogen, those things are going to take a while.
17 But if you can make a renewable gasoline and jet
18 fuel that can drop in directly without any
19 modifications to existing infrastructure, and you
20 can do that in a price competitive way, you can
21 do that faster than, really, almost any other
22 solution to decarbonization of transportation.
23 And this is our thesis and this is what we're
24 working on.

25 And so our intention is to actually offer

1 gasoline next year, this time next year, retail.
2 Our target price is \$3.50 per gallon for, you
3 know, carbon intensity zero fuels made this way,
4 and then to introduce jet fuel the following
5 year. We're not announcing that price yet but,
6 once again, intended to be price competitive.

7 A couple of comments on this approach
8 generally that also apply, obviously, to our
9 approach is that there are no feedstocks for this
10 in terms of like a bio feedstock or a waste
11 feedstock or some sort of industrial feedstock.
12 This is just carbon dioxide from the atmosphere.
13 And it uses only electricity, right, from solar
14 and wind, for example, and so there is no need to
15 use fossil fuels in its production. And it can
16 be distributed. And the systems we're designing
17 are designed to be intermittent and demand
18 responsive so they can operate when the sun is
19 shining and when the wind is blowing.

20 And this combination of features allows
21 us to roll out pretty quickly. So if we were to
22 take, say, a Gigafactory approach, we think it's
23 possible to replace a substantial portion of the
24 fuels in California in a five-year time frame.

25 And a little bit of time left, and I know

1 there's no opportunity for questions, but I was
2 invited to write a paper on the subject of --
3 which I wrote for Joule, published by Cell Press.
4 And that was the cover issue in March of this
5 year. And that's available on our website at
6 PrometheusFuels.com. And in the article I talk
7 about why we think that it's now possible to
8 compete with fossil fuels on price, what's
9 happened, what's changed, and what's going
10 forward.

11 And I think it's also important to say
12 that, although we plan on benefitting from LCFS
13 credits, we think that we're going to be able to
14 compete without them in a three- to five-year
15 time frame. And so there should be no
16 restrictions on our ability to grow in California
17 and without.

18 Thank you for your time.

19 MS. AVALOS: Thank you, Mr. McGinnis.

20 I want to give a reminder to those on the
21 phone to dial star nine to raise your hand. And
22 are there any other comments?

23 Okay, seeing there are no raised hands,
24 this concludes comments.

25 And I'll turn to you, Commissioner

1 Monahan.

2 COMMISSIONER MONAHAN: Great. Well, I
3 want to thank everyone for participating,
4 especially our panelists and speakers. It's
5 been, really, a fascinating set of workshops
6 today.

7 So we have our next workshop that's going
8 to be August 4th and 6th on electric vehicle
9 charging infrastructure, plugin-electric vehicle
10 charging infrastructure, I should say, so we
11 welcome you all to come back the beginning of
12 August for our next set of workshops.

13 So thanks everybody. Have a good
14 evening.

15 (The workshop concluded at 4:14 p.m.)

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 29th day of September, 2020.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

September 29, 2020