

DOCKETED

Docket Number:	19-BSTD-03
Project Title:	2022 Energy Code Pre-Rulemaking
TN #:	235961
Document Title:	Transcript for 09-22-20 Public Workshop
Description:	This file is the transcript for the public workshop held on September 22, 2020.
Filer:	Peter Strait
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	12/16/2020 11:05:21 AM
Docketed Date:	12/16/2020

APPEARANCES

Staff from the California Energy Commission:

Payam Bozorgchami
Simon Lee
Mazi Shirakh

Presenters:

Annie Kuczkowski, Clanton & Associates
Nancy Clanton, Clanton & Associates
Jon McHugh, McHugh Energy

Public Commenters:

Charles Knuffke, Watt Stoppers
John Busch, Certified Energy Alliance and Leviton
James Benya, Benya Burnett Consultancy

I N D E X

Proceedings	Page
Items	
1. Introductions/General Information:	4
2. Presentation on Daylighting Controls Proposal:	11
3. Presentation on the Outdoor Lighting Proposal:	23
4. Presentation on General Hardscape Lighting and Power Allowance:	34
5. Presentation on the new Multifamily Outdoor Lighting Section:	42
6. Adjournment	48
Reporter's Certificate	49
Transcriber's Certificate	50

P R O C E E D I N G S

1
2 SEPTEMBER 22, 2020

9:05 o'clock a.m.

3 MR. BOZORGCHAMI: So with that, my name is Payam
4 Bozorgchami and I'm the Project Manager for the 2022
5 Building and Energy Efficiency Standards. I want to welcome
6 you to the Energy Commission Workshop Pre-Rulemaking
7 Workshop for the 2022 Energy Standards.

8 Let me provide you some housekeeping rules. We
9 will be muting everyone. And after each proposed measure or
10 submeasure is presented, you can either raise your hand and
11 we will unmute you or you can submit your questions in the
12 question and answer box in Zoom and we will try to answer
13 your question as they come in.

14 Also if you are participating by phone, you can
15 use star 6 to mute and unmute yourself.

16 One important thing to remember is that when you
17 do unmute yourself, please state your name and your
18 affiliation. As I said earlier, this workshop is being
19 recorded and will be transcribed, and by stating your name
20 and who you're with, it will make it easier for us to be
21 able to reach out to you in case we need to have more
22 dialogue, a more indepth dialogue with you.

23 Also if you do notice that you're not getting your
24 answers to your questions or to your comments, you can also
25 submit your comment or questions through our docket. We're

1 taking all comments and concerns all the way up to October
2 6th. And on a few slides later, I will show you, I will
3 give you folks the email address or the docket address that
4 you could submit your comments to.

5 So with that, so this is what we're going to be
6 covering today. Simon Lee is going to be presenting on
7 Daylighting Controls and also Nonresidential Outdoor
8 Lighting Proposals. But before we do that, we have some --
9 I just want to give you guys a quick, basic background how
10 Title 24 has developed -- Part 6, actually -- and some time
11 line of next rulemaking -- or pre-rulemaking workshops and
12 how we're going to be developing the 45-day language and the
13 15-day and adoption.

14 So with that, as you guys, most of you already
15 know, in California two assemblymen, Assemblyman Warren and
16 Assemblyman Alquist, in 1974 came up with an idea and it's
17 known as the Warren-Alquist Act that was signed by Governor
18 Ronald Reagan and funded by Governor Jerry Brown in 1975
19 when he came into office, and that's what started the --
20 what's known as the California Energy Commission.

21 And the whole concept was developed into the
22 program to help reduce insufficient, uneconomic, and
23 unnecessary consumption of power or energy in California.
24 And, in doing so, we do this through the -- through the Code
25 development on a triennial basis and these requirements or

1 these Codes are supposed to or need to be enforced by the
2 local jurisdictions. And this is through the building-
3 permit process. So what they've done is they have actually
4 developed what's known as Part 6 of Title 24.

5 It's not just energy anymore. We're looking at
6 all other measures of not just energy savings, but we're
7 looking at greenhouse gas reduction, we're looking at ways
8 to promote all-electric buildings, we're looking at PV
9 generations. Luckily, a lot of this in the hands of Mazi
10 Shirakh, who is also one of the Senior Mechanical Engineers
11 here at the Building Standards Office. He is leading that
12 effort right now.

13 And to do so and in developing the Building
14 Standards -- or the Energy Codes, we have partnered up with
15 our local utilities. And I would like to thank the folks
16 from Pacific Gas & Electric, Southern California Edison,
17 Sacramento Municipal Utility District, and Los Angeles
18 Department of Water and Power, who with their consultants
19 have helped support the development of the 2022 Standards as
20 we are moving forward. They have done quite a few utility-
21 sponsored stakeholder meetings and where they have provided
22 the initial proposal for these measures that you're hearing
23 today. And they have taken comments from a few folks and
24 fine tuned their proposals, and they submitted it to the
25 Energy Commission.

1 And now we're doing what we call the pre-
2 rulemaking workshops here at the Energy Commission for all
3 the CASE measures that have been submitted. The utilities
4 are not the only ones that have submitted proposals to the
5 Energy Commission. The California Energy Alliance has also
6 done so, and they will be presented later on during our
7 workshop time line.

8 Every measure that has been submitted to the
9 Energy Commission has to go through a lifecycle analysis.
10 What does that mean? It has to be an energy savings to the
11 building owner. And all measures have to show benefits to
12 lifecycle costs based on the time-dependent valuation that
13 has been developed. Actually the time-dependent valuation
14 coefficients and methodology was developed actually under
15 Mazi Shirakh.

16 So with that, this is our standard process for
17 2022. Right now we're within the August 2019 to 2022
18 stakeholder meetings were happening -- excuse me -- I said
19 2022, I meant October 2020. Stakeholder meetings were
20 happening through the utilities. As final CASE reports
21 develop, these workshop -- these CASE reports were submitted
22 to the Energy Commission. The Energy Commission is
23 reviewing and providing the final -- or the pre-rulemaking
24 recommendations for Part 6 of Title 24. These workshops
25 will happen through the end of October 2020, next month.

1 And from September to the second week of December,
2 staff will be drafting code language that's going to be
3 proposed at our -- for the 45-day hearings that will be
4 happening here at the Energy Commission hopefully by
5 February of 2021. These 45-day languages will be
6 commissioner-ran workshops that will happen here at the
7 Energy Commission.

8 Then we're going -- and then we'll take comments
9 from those. And we're hoping to go for adoption for the
10 2022 Standards at a business meeting in July of 2021.

11 And, as you could see, the effective date of the
12 Standards, -- there's a lot of stuff that still has to be
13 done, develop the manuals, develop the training programs,
14 develop the computer programs for compliance options, and --
15 and doing the performance path -- and we're hoping that we
16 get all that done a year in advance of the effective date of
17 January 1, 2023.

18 There is a lot of work that needs to be done. And
19 if we could get your comments and concerns taken care of
20 sooner versus later, it helps us a lot and helps the program
21 move forward.

22 Here is the tentative schedule that we have right
23 now. We have already conducted three workshops here at the
24 Energy Commission. And today we're doing outdoor lighting
25 and daylighting. Tomorrow we will be hearing on a few of

1 the mechanical measures for computer room efficiencies,
2 refrigerant system operations, and pipe size and leakage
3 tests for compressed-air systems. These are all for
4 nonresidential buildings.

5 And then later on, on October 6th is one of the
6 maybe key important workshops. This is where we will be
7 presenting the methodology that we are looking into for
8 implementing electrification and a PV metric into the
9 program, and also the first time we'll be looking at
10 multifamily all-electric path. This is a two-workshop
11 process for this one. We want to submit and present you
12 with our idea as to how we're going to move forward on
13 October 6th, take feedback from you folks, and on November
14 17th, we will be presenting the final findings that we do
15 here at the Energy Commission.

16 This workshop will be led by Mazi Shirakh himself
17 and his team, and this will be an important one for you to
18 listen in to.

19 There is also another workshop that will be
20 happening later this month, on September 30th. That's on
21 the discussion on indoor air quality. It's a roundtable
22 discussion that's going to be led by Commissioner McAllister
23 himself, where we're going to bring -- where the scientists
24 and researchers that have been working on indoor air quality
25 will be presenting on their findings and their scope on --

1 really on kitchen range hoods, per se. So that's not the
2 full Indoor Air Quality proposal discussions at this time,
3 it will be mainly for kitchen cooktops and range hoods and
4 the fume hoses needed to remove some of those particulates
5 out of -- out of the environment.

6 Here are some key websites that you should be --
7 you might be interested in. The first one is the Utility-
8 Sponsored Stakeholder website. This is where you could find
9 all the presentations that the utility team has conducted,
10 all the CASE or Code and standards enhancement proposals
11 that they have developed. The Building Energy Efficiency
12 Program, this is where we have all of our current standards,
13 manuals, and previous standards and manuals, and what's
14 happening for 2022. It's all placed here in this website.
15 And your comments website is right here, so please submit
16 your comments to this. And please do so by October 6th, or
17 if the sooner the better, just because we need -- the more
18 time we have to do a thorough job, the better we are.

19 Key staff members' contact information:

20 Like I said, Mazi Shirakh. He's the lead. I
21 shouldn't be calling it ZNE anymore, but for now he's the --
22 he's leading the program for Electrification and
23 Decarbonization here in California;

24 Myself, the Project Manager for 2022 Building
25 Energy Standards;

1 Larry Froess, he's our Senior Mechanical Engineer,
2 he is responsible and he's the lead engineer over the
3 Compliance Software Program here at the Energy Commission;

4 Peter Strait, he is the Supervisor of the Building
5 Standards Development Team; and we have

6 Haile Bucaneg, he is our Senior Mechanical
7 Engineer who has been assisting me with all the work that's
8 been happening for 2022; and

9 Will Vicent, he's our new Building Standards
10 Officer Manager. He just started last week. If you have
11 any problems or any issues with any of us, you are more than
12 welcome to communicate with him. Unfortunately, at this
13 time we are still working on a phone number for him. As
14 we're not in the office, so I don't have one. And I
15 apologize for that. We just don't have one set up for him
16 yet until we get back into the office.

17 Again I wanted to emphasize please submit your
18 comments by October 6th for this workshop, and here is the
19 link. It would be appreciated if you submit your comments
20 sooner than October 6th, as there is a lot of work that
21 needs to be done with a little amount of time, and our staff
22 time is also very limited. So the sooner we get your
23 comments, the better we are.

24 Thank you. And if there are any questions or
25 comments?

1 If not, I'm going to pass that on to Simon Lee,
2 who will be presenting on his first proposal on Daylighting.

3 And, Simon, would you like to take over, please?

4 MR. LEE: Sure. Thank you, Payam. Could you hear
5 me?

6 MR. BOZORGCHAMI: Yes.

7 MR. LEE: Okay. Great.

8 MR. BOZORGCHAMI: You need to share your screen,
9 sir.

10 MR. LEE: Oh, okay. Okay. Can you see my screen?

11 MR. BOZORGCHAMI: Yes.

12 MR. LEE: Okay, great. All right. Thank you,
13 Payam.

14 And hello, everyone. My name is Simon Lee, from
15 the Building Standards Office. And before I go over the
16 first proposal, I would like to thank Jasmine Shepard and
17 Christopher Ewing of Energy Solutions, and Eric Shadd of
18 Determinant, LLC, who served as authors of this proposal.

19 I would also like to thank everyone who has
20 provided their inputs and support in the process.

21 Okay, all right. Okay. In the Daylighting
22 Controls Proposal, two essential changes are the daylight
23 dimming to 10 percent and relocating secondary sidelit
24 daylight zone requirements from the Prescriptive Section to
25 the Mandatory Section.

1 In addition, there are proposed changes to the
2 Power Adjustment Factor -- it is short as PAF -- for the
3 daylighting controls and the daylighting controls acceptance
4 test.

5 A number of sections in the Building Energy
6 Efficiency Standards, that's Title 24, Part 6, are proposed
7 to be revised. They include Section 130.1(d), Section
8 140.6(a)2H, Section 140.6(d), and Section 100.1. And in the
9 Reference Appendix, Section NA 7.6.1.

10 Automatic Daylighting Controls. I have an image
11 here. It shows daylight entering a building space through
12 windows. Daylight is the most efficient light source, even
13 more efficient than LED light source, commonly available to
14 be installed in office space.

15 Daylight is free and does not cost anything for it
16 to be produced. When daylighting is used, obviously it can
17 improve energy efficiency by minimizing the use of electric
18 lighting while balancing heating and cooling loads.

19 Current Code requires applicable general lighting
20 system in daylit space to reduce the lighting powered by a
21 minimum of 65 percent. Put it another way, this is to dim
22 to 35 percent of lighting level, or lowered if decided by
23 the occupants when full daylight is available to the space.

24 Current Code also requires applicable general
25 lighting systems to combine with the multilevel control

1 requirements. We are continuously in the range from 10 to
2 100 percent for LED luminaires. This proposal is to
3 leverage the widely-available LED luminaires and LED light
4 source in general lighting application. Both LED luminaires
5 and LED light source are able to be dimmed in the range of
6 10 to 100 percent. This is already required in the current
7 Code, Table 130.1-A for dimming in the range of 10 to 100
8 percent for LED luminaires.

9 This slide shows the proposed language for Section
10 130.1(d). It's specifying that the general lighting power
11 in a daylit zone shall be reduced by a minimum of 90 percent
12 when daylight illuminance is greater than 150 percent of the
13 sidelit illuminance. That means that when days of plenty of
14 daylight are available to the space, that lighting power
15 shall be reduced by a minimum of 90 percent.

16 The second essential change is to move the
17 Secondary Sidelit Daylit Zone requirements from Prescriptive
18 to Mandatory. This change is partly due to consideration of
19 the information received from stakeholders that there is
20 confusion and uncertainty during the code compliance
21 verification process as to whether controls in secondary
22 sidelit daylit zones are required.

23 Note that this does not change the daylighting
24 controls requirement for parking garages, as parking garages
25 are already required to have daylighting controls for daylit

1 space -- daylight zones.

2 Also it does not change the daylighting controls
3 requirements for retail merchandise sales and wholesale
4 showrooms, as these are exempted from the Daylighting
5 Controls Requirements in current Code.

6 This slide shows the proposed Code language about
7 the secondary sidelit daylight zone requirements. As the
8 tests on the screen shows, secondary sidelit daylight zones
9 are added as part of Section 130.1(d). I would also like to
10 mention that all daylight space will be required to be shown
11 on plans. By daylight zones, it means to include skylit --
12 skylit daylight zones, primary and secondary sidelit daylight
13 zones.

14 Skylit daylight zones and primary sidelit daylight
15 zones are already required to be shown on plan documents, so
16 now this will add secondary sidelit daylight zones to the
17 list, so that plan documents need to show skylit daylight
18 zones and both primary and secondary sidelit zones.

19 And on this, our next measure, a quick history
20 about this PAF, Power Adjustment Factors, for daylighting
21 controls. The original measure for this PAF was based on
22 fluorescent lighting systems which could be installed with
23 either staff dimming controls or continuous dimming
24 controls. Now with the widely-available LED lighting
25 products for general lighting application, continuous-

1 dimming capability is now available and can be tapped to be
2 used for daylighting controls. And this PAF update is based
3 on the continuous-dimming capability of LED lighting
4 products. The existing -- the existing name of the PAF,
5 daylight dimming plus of control, will be modified. It will
6 be modified to: Daylit Continuous Dimming Plus Off Control
7 so that it is clear continuous dimming controls will be
8 required to qualify for this PAF credit, and stepped dimming
9 controls would not be qualified.

10 Are there any questions so far?

11 MR. BOZORGCHAMI: Any questions, anyone?

12 Simon, yeah, well, I think we can move on.

13 And if you do come up with an idea, please submit
14 it through our docket or you can throw the question in the
15 question-and-answer box, and we'll answer it.

16 MR. LEE: Okay. Thank you, Payam. I will carry
17 on.

18 In current Code there are three subtests in the
19 daylighting acceptance test. They are: The no daylight
20 test, full daylight test, and partial daylight test. In
21 this proposal, a new option is suggested for the full
22 daylight test. And also a new method is suggested for the
23 partial daylight test.

24 For the full daylight test, a new option is
25 proposed to allow using flashlight to shine into the

1 daylight sensor to simulate a full daylight condition.
2 There is also a revision to retract the proposal of daylight
3 dimming to 10 percent, as you can see on the second -- the
4 second sentence: Lighting powered reduction is at least 90
5 percent under fully dimmed conditions.

6 Our next, about the partial daylight test, an
7 alternate method is proposed to address certain site
8 conditions, when and where there may not be much daylight
9 available. This could be scenarios such as in locations
10 where the daylight space are surrounded with dark glazing. It
11 means dark windows, tinted windows. In order to use this
12 alternate partial daylight test, two preconditions have to
13 exist in the first place.

14 About the first condition, there has to be
15 sufficient daylight. Or, in test outline terms, there has
16 to be 4,000 foot candles of outdoor illuminance. This can
17 be measured by -- from outside the tested space or measured
18 outside the building.

19 I will talk about the 4,000-foot candles on this
20 next slide. This slide shows an image from Table 4 of the
21 proposal report. This table with the Annual Clear Sky
22 Illuminance is developed with the equations in the CIE Clear
23 Sky Model. CIE is known as the International Commission on
24 Illumination. Let's go over this table for a moment.

25 The left-most column is hour of the day. The

1 other three columns are the seasons of winter, spring, and
2 summer. And the yellow-shaded cells indicate the hours that
3 outdoor illuminance is higher than 4,000 total foot candles.
4 And winter time is the second column for the left. In
5 winter time, it is expected to have the least daytime hour
6 with 4,000-foot candles. In spring, a good portion of the
7 day time hour has about 4,000-foot candles on an average
8 day.

9 And then to the column on the right. About half
10 of the time of a typical middle-summer day, the outdoor
11 illuminance would be over 4,000-foot candles and the ambient
12 daylight should be large enough to provide enough interior
13 daylight to conduct this proposed Alternate Partial Daylight
14 test.

15 Next I will go for the cost, the benefit, and the
16 feasibility of this proposal.

17 There is no expected change to the equipment from
18 the current Code requirements. Typically, essential
19 components, often automatic daylighting controls, include
20 photocells, daylighting logic controllers, and powered
21 controllers. And we are not expecting there are additional
22 equipment required for this proposal.

23 And about the acceptance test. The acceptance
24 test costs, as required for daylighting controls, are
25 already covering these controls for secondary sidelit daylight

1 zones. And so, therefore, based on the analysis there is no
2 incremental first cost and no incremental maintenance or
3 replacement cost.

4 This slide shows the expected benefits of
5 implementing the measure in the first year, when the
6 requirements are in effect. The annual energy savings is
7 expected to be 55.5 gigawatt hours and the annual cost
8 savings is expected to be \$107.6 million. In addition to
9 the energy and cost savings, the other benefit of this
10 measure is that the daylight dimming to 10-percent measure
11 aligns with ASHRAE 90.1 requirements.

12 And this slide shows the greenhouse gas emissions
13 reduction impact. The annual greenhouse gas emission
14 reduction is estimated to be 11,516 metric tons of
15 greenhouse gas. And this, preliminary findings. This
16 proposal is expected to be cost-effective in all climate
17 zones and for all building types. The proposal is also
18 feasible as data income shows has been required in the Code
19 since 2005. And daylighting control products are widely
20 available.

21 I have on this slide two images. They are about
22 daylighting windows and primary and secondary sidelit daylit
23 zones, and they are all related to each other.

24 With that, it concludes my presentation. I will
25 pause here and I will open the floor for questions and

1 answers. CEC staff and CASE officers are available to
2 answer any questions about the presentation materials or
3 about the proposal.

4 MR. BOZORGCHAMI: So, Simon, Mr. Charles Knuffke
5 has a question. I'm going to allow, unmute him.

6 MR. KNUFFKE: Excuse me. Good morning, gentlemen.
7 Simon, I was just wondering about the slide that you showed
8 about the amount of hours during the winter where there's
9 4,000 hours of appropriate level of daylighting. Is that
10 stating basically that an acceptance test technician would
11 only have from eleven o'clock in the morning till one
12 o'clock in the afternoon to do their acceptance testing on
13 daylighting?

14 MR. LEE: Okay. I will jump in and then Jon can -
15 - Jon McHugh, he's the -- he's one of the authors. He can
16 answer and offer information.

17 So my understanding is that, first, this is an
18 alternate method and then, second, the table is showing
19 based on a clear sky model. A clear sky model meaning that
20 there is about 30 percent of cloud in the sky, so actually
21 this is a conservative estimation, from my understanding,
22 and this is also a typical average day. So there are more
23 likely that there are more hours than what we show here.

24 MR. MCHUGH: Yeah. This is -- this is Jon McHugh.
25 Can you guys hear me?

1 MR. KNUFFKE: I can hear you, Jon, yes, sir.

2 MR. LEE: Yes.

3 MR. MCHUGH: Great. Yeah, Charles, I actually
4 think Simon covered all the major issues. One, if you were
5 -- if it was the winter and it was cloudy and rainy, you
6 wouldn't be able to use this test to -- to validate the
7 calibration of your daylight and control system.

8 And, yes, as Simon noted, if I've got a space that
9 has -- you know, there's -- this is in addition to the
10 existing test method, so this allows the acceptance tester a
11 broader range of methods for conducting the partial test.
12 They could -- so just to recap, what you're currently
13 allowed to do is that you would need to show that for the
14 partial daylight test that you're between 60 and 95 of
15 illuminance in the space. So if you've got a space that's
16 just -- you know, has lots of glazing and even though it's
17 dark outside, you could still hit those targets, then you
18 could use that test.

19 Also the existing test allows you to simulate
20 daylight, so there is really sort of three methods that you
21 could use to conduct the partial daylight test.

22 MR. KNUFFKE: All right. I just wanted to ensure
23 that we weren't asking the acceptance test technician to do
24 all their work in two hours and then come back the next day,
25 as opposed to -- so thank you for being clear that this is

1 an alternate test. And I take it then the other test would
2 allow a broader range of time during the winter when it's
3 not necessarily 4,000 feet outside the building.

4 MR. MCHUGH: Yup.

5 MR. KNUFFKE: Terrific. Thank you.

6 MR. BOZORGCHAMI: And John Busch had a question.

7 I'm going to unmute you, sir. Please state your
8 name and affiliation.

9 John, you need to unmute yourself, sir.

10 MR. BUSCH: Okay. Can you hear me now?

11 MR. BOZORGCHAMI: Yes, sir.

12 MR. BUSCH: Okay. Sorry about that.

13 Okay. So a couple of quick questions. Number
14 one, with regards to the daylighting and the changes that
15 are making, has there any -- been any consideration of
16 including similar to what we find in IECC with regards to a
17 rating of the glass transmittance value for the, you know,
18 possible exceptions?

19 MR. LEE: This is Simon. Hi, John. The -- yeah,
20 the daylighting test is all depending on the available
21 daylight in the space, so at this point we have not -- we
22 have not looked at the IECC information that you mention.

23 MR. BUSCH: Okay. And then, secondly, you know
24 with regards to the changes of moving the secondary, you
25 know, zone into the height, I fully agree that that should.

1 It lines up with what the other Codes are doing as well,
2 similar to ASHRAE. But one of the questions and maybe
3 considerations would be to add the additional wording
4 similar that would be found in ASHRAE 90.1, Section 9411(e),
5 you know, that adds the wording that we get beyond just the
6 120 watts, but it addresses the -- you know, adding the --
7 the actual wattage of the primary and actually wattage of
8 the secondary too, you know, in the limitation. So just ask
9 maybe we look at the wording on that. Again, Section
10 9411(e) in ASHRAE 90.1 that gives us the -- specifically
11 that started in 2016 to improve the understanding of that
12 limit or the exception on the wattage.

13 MR. LEE: Yeah. Hi, John. This is Simon. Our
14 office is aware of that language and we are -- we are
15 contemplating on that -- on that ASHRAE 90.1 requirements.

16 MR. BUSCH: Thank you.

17 MR. LEE: About the formation about.

18 MR. BUSCH: Yeah. Again I'm just -- you know, so
19 many engineers work across so many different states, so many
20 codes, it always helps when those codes start lining up a
21 little bit better, and -- but, no, appreciate the
22 opportunity to ask the questions. Thanks, Simon. You're
23 doing a great job.

24 MR. LEE: Thank you, John.

25 MR. BOZORGCHAMI: Thank you, John.

1 Any -- any other questions, concerns?

2 If not, we'll keep on moving.

3 MR. LEE: Thank you, Payam.

4 MR. BOZORGCHAMI: We'll move on.

5 MR. LEE: Yes. Very important thing, your
6 comments for today's workshop are welcome. And comments can
7 be submitted to the CEC Docket listed on this slide. As
8 always, there is a due date. It is October 6, by 5:00 p.m.
9 That's about two weeks from now.

10 And our contact information is listed on this
11 line: Myself, Peter and Payam's information is on this
12 slide. You are welcome to contact us about today's
13 measures.

14 Okay. With that, okay, there are a lot of
15 materials we will go through this morning. These slides and
16 presentation is prepared and developed to bring the essence
17 of the proposal to your attention. And before I start I
18 would like to acknowledge the CASE officers who put together
19 the Outdoor Lighting Proposal. They include:

20 Annie Kuczkowski of Clanton & Associates, Dan
21 Drozdowicz, Rachel Lawin (phonetics), Christopher Uraine of
22 Energy Solutions, and Michael Mamanski of PRC Companies
23 (phonetics). We'd like to thank them for their efforts, and
24 also everyone who has provided inputs and supports in the
25 process.

1 In the Outdoor Lighting Proposal, there are three
2 some measures. They are: Lighting zone reclassification,
3 adjustments to nonresidential outdoor Lighting Power
4 Allowances. In the CASE, we reported this title as General
5 Hardscape Lighting Power Allowance; and then the last one,
6 creation of a separate Code section for multifamily outdoor
7 lighting. In the CASE report, it is titled as Multifamily
8 Outdoor Lighting.

9 In this outdoor lighting proposal, a number of
10 sections in the Code are proposed to be revised. They
11 include: Section 10-114 and Table 10-114-A in that section.
12 Section 100.1, Section 130.2, Section 140.7, and Table
13 140.7-A, and 140.7-B.

14 A new section will be introduced to the Code.

15 (Conversation heard probably between participants on
16 Zoom.)

17 MR. LEE: Okay, I will continue.

18 A new section will be introduced to the Code. For
19 the Multifamily Outdoor Lighting Requirements, two efforts
20 are made to make it happen. One, it will have a new
21 Multifamily Outdoor Lighting Power Allowance, and then based
22 on and developed from the Nonresidential Outdoor Lighting
23 Power Alliance.

24 The second, this new section will have existing
25 outdoor lighting and lighting controls requirements

1 relocated from nonresidential sections and residential
2 sections of the Code.

3 The first measure with classification of lighting
4 zones. To quickly recap the lighting zones, the current
5 classifications include five lighting zones: Lighting Zone
6 0, sometimes we refer to that as LZ0. Lighting Zone 0
7 includes undeveloped areas with essentially no artificial
8 lighting.

9 Lighting Zone 1, it includes developed portion of
10 government-designated parks, recreation areas, and wildlife
11 reserves. Lighting Zone 2, LZ2, is defined as rural areas.
12 Lighting Zone 3, LZ3, is defined as urban areas. And then
13 one more, Lighting Zone 4. It includes areas with maximum
14 artificial lighting, such as Times Square in New York City.
15 At this point, no areas in California have been designated
16 to be Lighting Zone 4.

17 Okay, with that now we can look into the details.
18 This proposed measure aims to improve current outdoor
19 lighting zone solutions, which use a population-based
20 approach based on U.S. Census classifications of 2010. This
21 proposal would also closely align the default lighting zones
22 to the Illuminating Engineering Society's lighting zone
23 definitions.

24 I will highlight the proposed changes as follows,
25 and they include: Moving rural areas from a default

1 Lighting Zone 2 to a Lighting Zone 1; and adding a new
2 classification, urban clusters, which is a U.S. Census
3 classification; and rural areas will receive a default
4 Lighting Zone 2.

5 One more: Adding Building Types. Adding Building
6 Types likely to occur in each zone in Table 10-114-A.
7 Another one is revising the conditions for designating a
8 higher or lower lighting zone. And, lastly, this is not --
9 this one is a lot of the change, but I note that I want to
10 mention Lighting Zone 0 and Lighting Zone 4 are unchanged in
11 this measure.

12 In the next three slides I will show the proposed
13 changes to the Outdoor Lighting Zone Table. That's like
14 Table 10-114-A. It will show the proposed changes affecting
15 Lighting Zone 1, Lighting Zone 2, and Lighting Zone 3. So
16 the change -- changes affect Lighting Zone 1, 2, and 3, so I
17 just want to mention that so that, yeah, that's the focus.

18 This slide shows part of the table for Lighting
19 Zone 1. The red tags in the table are mean to show changes.
20 And I'm repeating myself there: There are no proposed
21 changes to Lighting Zone 0 and Lighting Zone 4.

22 Okay, Lighting Zone 1. Lighting Zone 1 will still
23 include the rural portions of government-designated parks,
24 recreation areas, and wildlife preserves. And rural areas
25 previously part of Lighting Zone 2 will now be included here

1 as part of Lighting Zone 1, along with residential and
2 agricultural areas.

3 And I will move on to Lighting Zone 2. Lighting
4 Zone 2, urban clusters are proposed to be the new default
5 locations of Lighting Zone 2. Previously thought as rural
6 areas, but it is now urban cluster areas, as well as mixed
7 use, residential, light commercial, and industrial areas.
8 And now about urban clusters: Urban clusters is defined in
9 the 2010 U.S. Census as territories with at least 2500
10 people and less than 50,000 people.

11 There will be a late -- this is the latest line
12 that will lay out and list out all the U.S. Census terms
13 that are being used in the Lighting Zone Table, and the
14 slide will also include that definition. And so we have
15 already looked at Lighting Zone 1 and Lighting Zone 2. We
16 have one more to go, and now let's look at Lighting Zone 3.

17 Lighting Zone 3. Lighting Zone 3 is still defined
18 as urban areas, but now includes high-intensity commercial
19 corridors, entertainment centers, and heavy industrial and
20 manufacturing.

21 So now I will turn to some Census definition
22 classification. Someone may ask the questions what are
23 rural areas, urban clusters, and urban -- urbanized areas as
24 defined by the U.S. Census. Rural areas include all
25 population housing and territory not included within an

1 urban area. Urbanized areas are territories with 50,000 or
2 more people, and now one more, urban clusters. Urban
3 clusters are territories with at least 2500 and less than
4 50,000 people.

5 Next we can look at some cost and benefits of this
6 measure. The same kind of Code required luminaires products
7 are used for meeting this proposal measure, and therefore
8 there is no incremental first cost and no incremental
9 maintenance and replacements cost.

10 This proposed measure is expected to have both
11 energy savings and cost savings in the first year, when the
12 requirements are in effect and in new construction and also
13 additions and alterations. The annual energy savings is
14 expected to be 2.82 gigawatt hours. And the annual cost
15 savings is expected to be \$7.6 billion. This proposed
16 measure is also expected to have an effect on greenhouse gas
17 emissions reductions. And this table on the slide shows the
18 greenhouse gas emissions reduction for each of the three
19 some measures and also the total of all three some measures.

20 And the second row from the top is for the
21 Lighting Zone Reclassification. For this measure, the
22 reduction is estimated to be 676 metric tons of greenhouse
23 gas annually.

24 The findings. This measure is expected to be
25 cost-effective in all climate zones and for all building

1 types. This update of the Lighting Zone Reclassification is
2 a continuation with a population-based approach with
3 reference to rural areas, urban clusters, urban areas, and
4 example building types that are likely to occur in these
5 areas.

6 Also this measure proposed continuation of the
7 provisions to local jurisdictions, to be able to designate
8 areas to a different lighting zone from defaults. And local
9 jurisdictions can also use the same public process for
10 assign -- for designating an area to different lighting
11 zones.

12 I have this and next slide about some staff
13 questions, seeking public inputs to weigh in on this
14 measure. So our first one: Will the introduction of the
15 Census-based default lighting zone of urban, rural area
16 reclassification possibly be of unison to any area
17 classification from the local development pen or zoning map?

18 And the second question: Will providing more of
19 this question to local jurisdictions be enough to adjust
20 this issue?

21 One of the posts that could be is that local
22 jurisdictions could use greater authority to determine
23 appropriate lighting zones for specific projects or regions,
24 if they can do so without needing to file materials with the
25 air -- the group CZ.

1 And -- and I have -- there is one more question:
2 Would moving to -- would the move to a lighting zone result
3 in under lighting? The reason being is that the Census
4 blocks can be fairly large and there can be areas of dense
5 development within a less populous region. There are some
6 jurisdictions such as the City of Vernon and City of
7 Industry that are focused on commercial, industrial
8 development, and are comprised of highly urbanized areas
9 despite having low population.

10 In the next two slides there are information about
11 City of Industry and City of Vernon that could be impacted
12 by this measure of Lighting Zone reclassification.

13 This is the City of Industry. The City of
14 Industry is heavily urbanized, mostly industrial and with
15 some commercial. There are about 3,000 businesses. The
16 resident population is 219, according to the 2010 U.S.
17 Census.

18 And next we'll look at some information about the
19 City of Vernon. The City of Vernon is primarily composed of
20 industrial areas and with about 1800 businesses and a small
21 residential population of 112 from the 2010 U.S. Census.

22 And so, in summary, these two cities have a small
23 resident population and it is under 2500 and, therefore,
24 they are considered rural areas. Their default -- their
25 default Lighting Zone would be changed from Lighting Zone 3

1 to Lighting Zone 1. As mentioned earlier, one of the staff
2 questions is about whether providing more discretion to
3 local jurisdictions would be enough to address this issue.
4 And staff will be interested in your comments and inputs.

5 With that, it concludes my presentation for the
6 Lighting Zone Reclassification.

7 Are there any questions about the presentation and
8 the proposal?

9 MR. BOZORGCHAMI: Any comments, any questions?

10 If not, Simon, go ahead and start the General R
11 Scape.

12 MR. LEE: Okay.

13 MR. BOZORGCHAMI: Hold on, hold on. Jim Benya has
14 a question.

15 I'm going to unmute, sir. Please state your name
16 and affiliation, please.

17 Jim, you have to unmute yourself, sir.

18 MR. BENYA: Hi. This is Jim Benya at Benya
19 Burnett Consultancy, Davis.

20 Serving as consultant to Energy Commission staff
21 on this measure, I just wanted to point out one other thing.
22 I provided my comments to staff and they have incorporated
23 them in their presentation. One thing I failed to mention
24 in that is that this classification system is not
25 necessarily consistent with IES publications the way it's

1 been used. Having been the author of the -- this
2 methodology being entered into the Standards some 15 years,
3 I can tell you that the intent was that communities would
4 themselves take control of their lighting zoning, if
5 necessary, and that the default zones is what these
6 represent.

7 I think that system has not been used to its
8 fullest potential, and so one of the things I run into as a
9 professional designer in this state is that many building
10 departments aren't even aware of the Lighting Zone system
11 and certainly many communities don't take full advantage of
12 being able to set the zones, as was just pointed out in the
13 slides a minute or two ago.

14 I think this is a system we have to be very, very
15 careful with. And reducing lighting zones in communities
16 may be just theoretical. I'm aware of only a few
17 communities that actually have done the Lighting Zone
18 adjustments to better tailor to their community. One of
19 them, for example is the community of Malibu. And I helped
20 them set theirs. And their entire community is set at
21 Lighting Zone 1. It's not that Lighting Zone 1 is bad, but
22 it is certainly a departure from Lighting Zones 2 and 3. So
23 this is -- this is a proposal that I'm not real, real fond
24 of. I think it's a smart proposal, but because the Lighting
25 Zone system really isn't being used fully as it was

1 intended, I'm a little nervous about changing things on some
2 theoretical savings we might get. So I think that -- let's
3 all be very careful about this particular one because it
4 might end up not even being fully appreciated by the
5 communities that have to enforce it. Thank you.

6 MR. LEE: Hi. This is Simon. Thank you, Jim.
7 And also pardon for me forgetting to introduce our
8 panelists. Jim Benya. Jim is one of our panelists. And
9 also Annie Kuczkowski and Nancy Clanton, they are also here
10 to serve as our panelists for the Outdoor Lighting Measures.

11 Yeah, thank you for -- for them.

12 MR. BOZORGCHAMI: Simon, John Busch also has a
13 question, has raised his hand. I'm going to allow, unmute
14 him, sir.

15 MR. BUSCH: Hi. Just to jump on to that comment
16 that Jim just made --

17 MR. BOZORGCHAMI: Sorry, John. Please state your
18 name. I'm sorry.

19 MR. BUSCH: I'm sorry. This is -- I'm sorry.
20 It's John Busch with Leviton and CEA, by the way.

21 Just a quick comment on that, Jim, and again it's
22 kind of a question, something that we might consider.
23 Forgive me, I do think the world of our Title 24, but I
24 always look to the other codes to try to understand intent.

25 You know similar to something like that was done

1 for exterior lighting in ASHRAE 90.1 was actually
2 specifically with the facade and landscape lighting, you
3 know, times of when they need to turn off. The actual
4 wording was added to the Code language of changing from what
5 the code calls of the times to actually times established by
6 the AHJ, and might consider some -- some level of wording
7 that might give that flexibility that Jim is talking about
8 to the local AHJs.

9 MR. LEE: Hi. This is Simon. Yes. Yeah,
10 piecemeal comes and we will -- we will consider them. We
11 will look at -- we will look at all the inputs and also what
12 we have in the proposal.

13 MR. BOZORGCHAMI: Simon, I don't see any other
14 raised hand or any questions in the question box, so go
15 ahead and start the general hardscape discussion.

16 MR. LEE: Okay. All right. Thank you. Thank
17 you, Payam. I will continue on the next measure.

18 General Hardscape Lighting and Power Allowance.
19 This measure is about the general Hardscape Lighting and
20 Power Allowance. First some background information.

21 The 2019 Outdoor Power Allowance based on the
22 recommended luminance were used for of IES RP-8-18. The
23 title of that document is American National Standard
24 Practice for Design and Maintenance of Low Rate and Parking
25 Facility Lighting. This is a publication by the

1 Illuminating Education Association. Yeah.

2 In short, the 2019 Outdoor Lighting Power
3 Alliance, based on the IES recommended lighting level for
4 parking facilities recently an important reference document
5 was updated or was released and this is Addendum 1 of IES
6 RP-8-18 for Chapter 17. So this addendum was published on
7 February this year. And in this addendum, the recommended
8 lighting level for parking areas has been decreased based on
9 parking facility research performed by the Transportation
10 Institute.

11 As the recommended lighting levels for parking
12 lots has been decreased, this proposal aims to align the
13 General Hardscape Lighting Power Allowance for use in Table
14 140.7-A with the recommended lighting levels in the new
15 addendum, Addendum 1 of IES RP-8-18.

16 I will highlight the proposed changes to you as
17 follows. As the difference in lighting level requirements
18 for ASHRAE in concrete parking lot surface are negligible.
19 The proposal established one set of lighting power allowance
20 were used for parking lots, at a level suitable for both
21 surfaces. A new lighting power allowance is added for
22 general hardscape applications with security cameras. The
23 term "cutoff" is replaced -- also the term "cutoff" is
24 replaced with "shielding" to better reflect current outdoor
25 luminaire terminology.

1 Lastly, this one is not on this slide. The
2 Hardscape Ornamental definition will be updated to a 50-watt
3 limit. This is in order to align with the wattage proposed
4 for an outdoor -- for an LED baseline in Section 140.7.

5 So we will go into the details of the proposed
6 language. And this slide shows the proposed Outdoor
7 Lighting Power Allowance values for Lighting Zone 1, 2, 3,
8 and 4. And for area wattage allowance, linear wattage
9 allowance, and initial wattage allowance. These allowance
10 have been adjusted to align with the new IES-recommended
11 illuminance values for making level, the allowance values
12 are lower as the IES-recommended illuminance values are
13 lower so that they -- yeah, so that they are in coherence
14 with each other.

15 Security cameras. Security cameras for general
16 hardscape areas are calling to the study in the proposal
17 report, security cameras in using 2019 require higher
18 lighting levels than those recommended by Addendum 1 of the
19 IES document, RP-8-18. In order to identify people,
20 animals, and objects of concern inside the general hardscape
21 area. To address the need. This proposal includes a new
22 additional lighting power allowance for general housekeeping
23 application with security cameras. This new additional
24 lighting power allowance for security cameras would ensure
25 that current security camera technology can be applied in

1 general hardscape areas with security concerns.

2 Up on Serial 1A1 postgraphic is proposed for
3 Lighting Zone 2, 3, and 4, for the general hardscape area
4 with security camera installations. Also a new definition
5 is proposed to define what can be considered as security
6 cameras for this additional lighting power allowance for
7 security cameras.

8 And I'll just read out the new definition:
9 Security cameras are any operational camera used to enhance
10 the safety and security within a general hardscape area.

11 For this proposed measure, since the 2019 LED
12 luminaire productions can be also used is for submitting the
13 proposed -- 2022 code changes. There is no incremental
14 first cost and no incremental maintenance and replacement
15 cost.

16 This slide shows the expected benefits of
17 implementing the measures in the first year when the
18 requirements are in effect. This proposed measure is
19 expected to have both energy savings and cost savings, and
20 in both new construction and additions and alterations. The
21 annual energy savings is expected to be 24.3 gigawatt hours.
22 And the annual cost savings is expected to be \$64.58
23 million.

24 This proposed measure is also expected to have an
25 impact on greenhouse gas emissions reduction. The reduction

1 is estimated to be 5,841.46 metric tons of greenhouse gas
2 annually. And -- and these proposed changes are expected to
3 be cost-effective in all climate zones and for all building
4 types.

5 About technical feasibility. Outdoor area
6 luminaires for achieving the default lighting levels are
7 available. LED luminaires of warm CCT of either 3,000K or
8 2700K have been studied and are counted for being able to
9 meet the proposed LPA requirements. These luminaries
10 include those that are widely available today to ensure that
11 less effective luminaires use it in current industry
12 standard practice could still be installed in each lighting
13 zone for meeting the Code.

14 And I have a slide here about a question, a staff
15 question seeking public input: The outdoor lighting power
16 allowance values are developed to provide sufficient
17 lighting power to cater for the recommended illuminance
18 levels. Are there any other illuminance levels that should
19 be considered for California? And if you have information,
20 please let us know.

21 With that, that concludes my presentation for the
22 General Hardscape Lighting Power Allowance Measures.

23 CEC staff and CASE officers are available -- and
24 the panelists -- are available to answer any questions about
25 the presentation materials or about the proposal.

1 Now I will open the floor.

2 MR. SHIRAKH: Simon, this is Mazi. Can you hear
3 me?

4 MR. LEE: Yes, I can hear you, Mazi.

5 MR. SHIRAKH: The question that allows for
6 additional allowance for the security camera, why is that
7 needed in Lighting Zones 3 and 4? I mean it seems like with
8 the higher lighting level in those zones, you may not need
9 that additional allowance.

10 MR. LEE: Okay. I'll jump in first and then the
11 panelist maybe can show me how it works.

12 Okay, according to the survey and the
13 investigations, security cameras, there are different modes
14 of the security cameras, that the color mode, the black and
15 white, and the infrared. So this additional lighting power
16 allowance is for those in areas just in case the camera
17 technology that they are using could not see in those high
18 level -- at those hardscapes outside. And so this is
19 provided just in case. But they are -- actually the most
20 recent technology, they can see even with the current under
21 with, I think, two level, they can see, so.

22 MR. SHIRAKH: Um-hum.

23 MR. LEE: But that's my -- that's my recap.

24 MR. SHIRAKH: Yeah.

25 MR. LEE: Annie or Nancy, would you like to chime

1 in?

2 MS. KUCZKOWSKI: I will add to that. This is
3 Annie Kuczowski here. I've been working with Clanton &
4 Associates, supporting the CASE measure.

5 And Simon is correct, there are different power
6 detection provided through different cameras.

7 None of the other considerations that we also made
8 when proposing this security camera adder is that it's
9 oftentimes areas that are in Lighting Zone 3 and Lighting
10 Zone 4 that had the most safety and sensitive security
11 concerns that are brought up by any of the occupants. So
12 it's primarily those areas where we do want to make sure we
13 can achieve the safety required by building owners, so in
14 many cases that is having the camera so that people can
15 actually watch what's happening down in the parking lot, or
16 if there is an incident that they can go back later and
17 review what happened and be able to see it at further
18 distances.

19 Because security camera technology is evolving so
20 quickly, we use current technology but we wanted to point
21 this back to IES standards. So we decided to use a three-
22 foot candle average for all of these areas that needed
23 entry-lighting level for security, which could not currently
24 be achieved with the general parking lot lighting levels and
25 general hardscape parking lot lighting levels. So even with

1 LZ3 and LZ4, you do need a little bit of an adder to reach
2 the IES-recommended security lighting requirements.

3 MR. SHIRAKH: Okay. Thank you.

4 Second question, just a clarification. We're not
5 proposing any changes to the BUG rating of Outdoor
6 Luminaires? That's been --

7 MS. KUCZKOWSKI: No, we won't.

8 MR. SHIRAKH: Okay. Okay. Thank you.

9 MR. BUSCH: Could I add a little bit of something
10 here? This is Jim Benya. A couple things.

11 First of all, the applicable standard that's got
12 to be considered is IESG-1, which is a guideline for
13 security lighting. Security lighting isn't always applied
14 in parking lots and hardscape. And so there might not be a
15 power allowance for at all if one isn't provided for
16 security lighting.

17 Secondly, the lighting levels that are required
18 are vertical illuminates, not horizontal. And they have to
19 be higher than the typical lighting levels we're using for
20 hardscape and parking lots and so on. This is a smart
21 addition, I think, because it provides additional power
22 which may not be provided in any way regardless of lighting
23 zones.

24 The other comment I want to make is that I tested
25 all of the proposed values for changes to the exterior

1 lighting. I had a limited amount of time -- excuse me --
2 but I had one really good model and I tested everything
3 using this model for all lighting zones. The lighting zone
4 values appear to track pretty well. They do a pretty good
5 job. And I think in this case -- in this case the CASE team
6 did an excellent job of coming up with -- with new values.
7 I don't have a lot of concerns about the proposals for
8 outdoor lighting power density with this particular case. I
9 think they did a good job.'

10 MR. SHIRAKH: Thank you, Jim. That was a helpful
11 explanation.

12 MR. BOZORGCHAMI: Thank you, Jim.

13 Thank you, Mazi.

14 Anyone else?

15 I think we're ready to go to the Multifamily
16 Outdoor Lighting Proposal, I meant.

17 MR. LEE: Okay, all right. Yes, I will.

18 MR. BOZORGCHAMI: Sorry.

19 Folks, if you do come up with ideas and questions
20 and concerns, please submit -- again, submit your comments
21 into our docket sooner than later. And I apologize for
22 bringing this up. I just want to make sure that you folks
23 are heard sooner than later. Thank you.

24 MR. LEE: Yeah, please let us know I mean if --
25 yeah. Please let Payam or me know. Payam and Peter. And

1 so I will go to the next -- or the last measure, Multifamily
2 Outdoor Lighting.

3 In this Code cycle there is a restructuring to the
4 requirements for multifamily buildings. There would be a
5 new dedicated chapter for multifamily buildings and a new
6 section for multifamily outdoor lighting.

7 So this measure. There will be a new multifamily
8 outdoor lighting section. This new section will consolidate
9 existing requirements that are split between residential and
10 nonresidential chapters and sections. Existing outdoor
11 lighting provisions, applicable to multifamily buildings,
12 will be moved to this new section. Similarly, reference to
13 these provisions will be replaced and referenced to the new
14 chapter. So this creates a consistency between overlapping
15 residential and nonresidential requirements, and simplifies
16 requirements where possible. The next two slides will show
17 some example language in existing conditions sections. This
18 slide shows two nonresidential sections. The changes on the
19 slides are prepared by staff. They are necessary to
20 harmonize changes to existing sections and the new
21 multifamily outdoor lighting section. And the text in red
22 are proposed changes.

23 In Nonres and Res Planning Section 130.0, it is
24 suggested to add an exception to serve as a pointer that
25 there is a different section for outdoor lighting of high-

1 rise residential buildings, as there is a new section for
2 Multifamily Buildings, and high-rise residential buildings
3 are considered to be multifamily buildings.

4 In Section 130.2, is also a Nonresidential Outdoor
5 Lighting section; the text "high-rise residential" is to be
6 deleted from this section, as the Outdoor Lighting
7 Requirements for Multifamily Buildings will be in a new
8 section.

9 And some more examples of changes in existing
10 language sections, in Section 150.0(k)3, that's for the
11 Residential Outdoor Lighting, the language related to
12 Multifamily Outdoor Lighting is suggested to be deleted from
13 this Residential section. Additionally, it is proposed to
14 add Multifamily Outdoor Lighting requirements as an option
15 for low-rise residential buildings. And just a footnote,
16 low-rise residential buildings are residential buildings
17 with one, two, or three dwelling units.

18 Highlights of the proposal include: Number one,
19 the calculations is simplified for the calculation of the
20 allowed outdoor lighting wattage for multifamily buildings.
21 In addition, a two-factor calculation method using an
22 initial and an area wattage allowance is proposed to replace
23 the existing fee factor calculation.

24 Number three, mixed-use buildings with residential
25 dwelling units are allowed to be classified as multifamily

1 for Outdoor Lighting Power Allowance calculations.

2 And the next one: Allowance that are extremely
3 uncommon for multifamily buildings. For example, car sales
4 lots lighting, gas station outdoor lighting, they are
5 grouped under a single common allowance for canopy lighting.
6 And setback control requirements will apply to Outdoor
7 Lighting -- let me go back. Setback control requirements
8 will apply to Outdoor Family Lighting.

9 Lastly, adding a clarification that exception to
10 lighting for public streets and roadways may include those
11 owned or maintained by municipality or utility.

12 The new section for the Multifamily Outdoor
13 Lighting will have its own lighting power allowance table.
14 And, as mentioned earlier, about a simplified two-factor
15 calculation method for multifamily outdoor lighting, the two
16 factors are the area wattage and the initial wattage for
17 Lighting Zone 1, Lighting Zone 2, Lighting Zone 3, and
18 Lighting Zone 4.

19 In the new Multifamily Outdoor Lighting Section,
20 there would also be a list of Outdoor Lighting Exception to
21 the Code requirements. This is similar to those in Section
22 140.7 for Nonresidential Outdoor Lighting. It is proposed
23 to add street lighting owned or maintained by municipality
24 or utility to the list of exceptions. Also it is proposed
25 not to include an exception for industrial sites and theme

1 parks, as industrial sites and theme parks are already
2 covered by the existing exception in the Nonresidential
3 Outdoor Lighting Section.

4 For this proposed measure, since the commonly-
5 available LED luminaire products are also used for
6 developing this Multifamily measure, there is no incremental
7 first cost and no incremental maintenance and replacement
8 cost.

9 I'd like to mention to you that there are four
10 prototype buildings within the overall construction forecast
11 are being used here to calculate the impacts of the proposed
12 Code changes. And these multifamily-building prototypes
13 include low-rise garden, loaded corridor, mixed-use mixed-
14 use, and high-rise mixed-use buildings. And if you want to
15 -- there is more information in the CASE report. Table 61
16 has the site -- has site characters. And some low-rise
17 gardens are two- to three-story buildings. Mid-rise are
18 four- to five-story high and high-rise are six story or
19 more.

20 This slide shows the expected benefits of
21 implementing the measure in the first year, when the
22 requirements are in effect. This proposed measure is
23 expected to have both energy savings and cost savings, and
24 in both new construction and additions and alterations. The
25 annual energy savings is expected to be 11.75 gigawatt hours

1 and the annual cost savings is expected to be \$9.73 million.

2 Greenhouse gas emissions reduction. This proposed
3 measure is expected to have an effect on greenhouse gas
4 emissions reductions. In this table, the fourth row from
5 the top, it shows the greenhouse gas emission reduction for
6 the Multi Outdoor Lighting measure -- Outdoor Lighting
7 measure is 2,800 and 12.68 metric tons of greenhouse gas.

8 And the preliminary findings: The proposed
9 changes of the measure is expected to be cost-effective in
10 all climate zones and for multifamily buildings.

11 About technical feasibility. Outdoor area
12 luminaires for achieving the default lighting level are
13 available, LED luminaires of 1 CCT of either 3,000K or 2700K
14 have been studied and are kind of therefore being able to
15 meet the proposed LPA requirements. These include those
16 that are widely available today to ensure that less
17 effective luminaires used in current industry standard
18 practice could still be installed in each lighting zone for
19 meeting the Code.

20 With that, that concludes my presentation for the
21 Multifamily Outdoor Lighting measures. And CEC staff and
22 CASE officers and panelists are available to answer any
23 questions about the presentation materials or about the
24 proposal. And now I will open the floor.

25 MR. BOZORGCHAMI: Simon, can I ask you to slide

1 over to the next slide, please? There you go. Thank you.

2 Any comments, any concerns, any questions? Not
3 just on this proposal but any of the other proposals that
4 you've heard today?

5 With that, if not and if you have a concern or
6 comments and you want to bring them up, you can bring them
7 up in writing and submit your comments by October 6th, and
8 here attached is the docket link. And here you will see
9 other comments and the PowerPoint presentation, and the
10 transcript for today's call will also be posted here, so
11 those will be available for you to view. The transcripts
12 and the recordings will take a few weeks to get posted, as
13 it's being recorded now and will be posted at a later time.

14 With that, I will ask Simon to go to the next
15 slide for contact information, and -- thank you -- and
16 here's Simon's information. Notice that I threw him as the
17 first thrown under the front of the bus and myself at the
18 end.

19 So if there are no comments or concerns, I will
20 conclude today's workshop. Thank you, everyone.

21 MR. LEE: Thank you, everyone.

22 (Whereupon, the Workshop was adjourned at 10:35 o'clock
23 a.m.)

24

25