

**DOCKETED**

<b>Docket Number:</b>	19-BSTD-03
<b>Project Title:</b>	2022 Energy Code Pre-Rulemaking
<b>TN #:</b>	235957
<b>Document Title:</b>	Transcript for 09-30-20 Public Workshop
<b>Description:</b>	This file is the transcript for the public workshop held on September 30, 2020.
<b>Filer:</b>	Peter Strait
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	12/16/2020 11:05:21 AM
<b>Docketed Date:</b>	12/16/2020

CALIFORNIA ENERGY COMMISSION

In the matter of: ) Docket No. 19-BSTD-03  
)  
2022 Energy Code ) RE: Advances in  
Pre-Rulemaking ) Scientific  
) Understanding of the  
) Impacts of Indoor  
) Cooking and Associated  
) Ventilation on Indoor  
\_\_\_\_\_ ) Air Quality

COMMISSIONER WORKSHOP

Held remote via Zoom

California Energy Commission  
Warren-Alquist State Energy Building  
1516 Ninth Street  
First Floor, Art Rosenfeld Hearing Room  
Sacramento, California 95814

Wednesday, September 30, 2020

Reported by:

E. Hicks

## APPEARANCES

### COMMISSION

J. Andrew McAllister, Chair

### STAFF

Peter Strait  
Payam Bozorgchami  
Susan Wilhelm

### PANELISTS

Yifang Zhu, Environmental Health Sciences Department in UCLA  
School of Public Health  
Brett Singer, Staff Scientist and Principal Investigator (PI)  
in  
the Energy Technologies Area of Lawrence Berkeley National  
Laboratory  
Marian Goebes, Associate Technical Director - TRC Energy  
Services  
Elizabeth Scheehle, Chief, Research Division - California Air  
Resources Board  
Zoe Zhang, staff air pollution specialist, Indoor Exposure  
Assessment Section of the Research Division within CARB  
Pat Wong, Air Resources Supervisor I at California Air  
Resources  
Board  
Bonnie Holmes-Gen, chief of the Health and Exposure Assessment  
branch at the Air Board.

### PUBLIC SPEAKERS

Debra Kaden, Ramboll  
Susan B.  
Jeffery K. Smith, World Health Organization  
Mike Moore, HVI  
Brady Seals, Rocky Mountain Institute  
Stephanie Morris, Mothers Out Front Silicon Valley  
Tim Carmichael, Southern California Gas Company  
Tom Phillips, Healthy Building Research  
Christine James, Climate Health Now  
Kyoko Hibino, Save Porter Ranch  
Kevin Messner, Association of Home Appliance Manufacturers  
Wendy Ring, Climate 911  
Lauren Cullum, Sierra Club California  
Ted Williams, American Gas Association  
Robert Gould, San Francisco Bay Physicians for Social  
Responsibility

I N D E X

Proceedings	Page
Items	
1. Introductions/General Information:	4
2. Panels	38
3. Public Comments	145
4. Adjournment	198
Reporter's Certificate	199
Transcriber's Certificate	200

1 P R O C E E D I N G S

2 SEPTEMBER 30, 2020

9:05 a.m.

3 MR. STRAIT: All right. Shall I do some ground  
4 rules before we get started proper just to tee up, like, how  
5 the Q&A is going to work and some of this?

6 MR. McALLISTER: Yeah, please. Just start out  
7 introducing, and I'll jump in here, Peter, when you're done  
8 with the initial.

9 MR. STRAIT: Excellent. So greetings, everyone, in  
10 the audience. We're all here to discuss indoor cooking and  
11 air quality. I've got an agenda on the screen right now, so  
12 I'm going to do two things. First, I'm going to just quickly  
13 walk through the agenda to set the stage for how this panel  
14 discussion is likely to progress. And, two, I'm going to go  
15 over a few quick tips on interacting with the panel and making  
16 sure that everyone's questions get answered. We are going to  
17 have the majority of our open discussion amongst participants  
18 at the end of the panelists' presentation and discussion, so  
19 just as I go through this, please keep that in mind.

20 We're going to start with introducing all the  
21 panelists and the commissioner so that everyone in the  
22 audience knows who is speaking and what's brought them here  
23 today. The commissioner is going to give a brief statement of  
24 the purpose of this workshop and what we hope to accomplish  
25 here. I'll be giving a brief presentation that sets out the

1 problem statement that we're here to address, which is the  
2 interaction of indoor cooking activities and equipment and  
3 ventilation requirements.

4           My colleague, Susan, will be giving a presentation,  
5 then, on what some of the California Energy Commission's  
6 energy-related research has been into these topics and into  
7 the broader context of ventilation.

8           Then, we'll move on to our panelists. I'll be  
9 asking them to introduce themselves. But we have a total of  
10 five panelists today. The first, Yifang Zhu, from UCLA, she  
11 will be joining at 10:00. She has a much more limited  
12 schedule, but she will be on in time for the first session.  
13 Brett Singer, another researcher, working with Lawrence  
14 Berkeley National Labs. We have Martin Goebes -- I'm sorry,  
15 Marian Goebes; I read that wrong -- that works with some of  
16 our Codes and Standards Enhancement Team that are responsible  
17 for many of our code change proposals. We have two  
18 representatives, Pat Wong and Zoe Zhang, from the California  
19 Air Resources Board. And again, I'll give them a chance to  
20 make their introductions later. And we have a fifth panelist  
21 with the California Department of Public Health, Kazukiyo  
22 Kumagai.

23           The first thing, we'll have one session between our  
24 first two panelists, a second session with our three  
25 panelists. Each session will be presentations followed by

1 some panel discussions.

2           For members of the audience that have technical  
3 questions about the content being presented by panelists,  
4 we'll want you to use the Q&A box to type those questions in,  
5 and then we can get to those questions when there's a pause or  
6 break in the presentations and panel discussions.

7           We'll have a second session of panelists. We will  
8 then, at the end of the paneled presentation, open it for  
9 general questions, again, related to the content of the  
10 presentations, and we'll read ones -- we'll start by reading  
11 ones that came in in the Q&A and then move on to some live  
12 questions as much as we might have time for.

13           Depending on how long we go after the panel  
14 presentations, we will likely have a break for lunch, followed  
15 by a staff presentation which will set up the commentary that  
16 we want to hear from the public and give the context of what  
17 we are looking for in terms of specific topics we want your  
18 opinion on. Obviously, when we get to open public commentary,  
19 folks are free to say anything that they want to make sure the  
20 commissioner and staff and other participants hear, but this  
21 just gives us the things that we need to know for -- in order  
22 to engage in our rulemaking activities. And then once we've  
23 opened the mic to the public and heard what you have to say to  
24 us, we'll give some closing remarks to close out the day.

25           When we get to the open comment period, just in

1 order to make sure that everyone has a fair chance to speak,  
2 we will be asking that if you're a member of a group that  
3 there is one group representative that gives your statement or  
4 that has your communications ready. We do not want to put a  
5 time limit on comments. But again, if we need to, if we see a  
6 large number of participants, then we may need to implement a  
7 five-minute or a three-minute limit on commentary just so that  
8 we can make sure everyone has a chance at the mic. But,  
9 otherwise, we're going to do everything we can to get as many  
10 of your thoughts communicated to us, to the collection of  
11 state representatives and researchers that are present today,  
12 as well as to our commissioner and other decision-makers.

13           So, with that, let's go through and do some  
14 introductions about who's on the panel. And I'm just going to  
15 go in the same order that we have here on the agenda, but I'm  
16 going to start with the -- sorry. I'll go through the same  
17 order that we have here on the agenda and I'll end with the  
18 commissioner so that the commissioner can then give his  
19 opening statements. When I introduce you, I think what the  
20 public most wants to hear is not just who you are and who  
21 you're with but what brings you into the realm of indoor air  
22 quality research and what you've been working on, the things  
23 that you find to be important, that you want people to know  
24 that you're actively working on and engaged with.

25           So, with that, Brett Singer, would you care to



1 introduce yourself to the assembled public?

2 MR. SINGER: Yes, thank you. Can you hear me okay?

3 MR. STRAIT: Yes, you're loud and clear.

4 MR. SINGER: Wonderful. So I lead the Indoor  
5 Environment Group and I work with the Whole Building Systems  
6 Department at Lawrence Berkeley National Laboratory. I've  
7 been doing indoor air quality research since 1998 starting  
8 with second-hand and then third-hand tobacco smoke. I've done  
9 a lot of work on exposures, looking at especially how building  
10 efficient homes impacts our equipment exposures and ways to  
11 maintain good indoor air quality as we improve the energy and  
12 carbon performance in our buildings. I've specifically done a  
13 lot of work looking at gas appliances, and I'll be speaking in  
14 the session, so I'll stop there.

15 MR. STRAIT: Excellent. Thank you.

16 Marian, would you care to introduce yourself next,  
17 please?

18 MS. GOEBES: Sure, no problem. Thanks, everybody,  
19 for joining today. My name is Marian Goebes. I'm a member of  
20 the Statewide CASE Team, and I'm leading the Multifamily  
21 Indoor Air Quality CASE Report. I am at TRC. I've been here  
22 for about ten years. I conduct evaluation and market research  
23 on energy efficiency and indoor air quality topics. I've also  
24 been on the ASHRAE 62.2 committee, and I chair the Multifamily  
25 Working Group for ASHRAE 62.2. And prior to joining TRC, I

1 worked on the LEED for Homes Program and set up the Indoor Air  
2 Quality Requirements Fair. And prior to that, I was in  
3 graduate school studying indoor air quality topics. So thanks  
4 very much for having me on.

5 MR. STRAIT: Excellent. Next, Pat or Zoe or both.  
6 I guess starting with Pat, would you care to introduce  
7 yourself?

8 MR. WONG: Yeah, my name is Pat Wong. I'm the  
9 manager of the Indoor Exposure Assessment Section of the  
10 California Air Resources Board. Our interest of indoor is our  
11 section does do -- fund a lot of research regarding indoor air  
12 quality and personal exposures. One big interest which we are  
13 working on is, I guess, the effects of building HVAC systems  
14 and so forth that can modulate indoor air quality and, I  
15 guess, Zoe will talk about some of her work.

16 MS. ZHANG: Thank you, Pat. This is Zoe Zhang. I  
17 am a staff air pollution specialist, Indoor Exposure  
18 Assessment Section of the Research Division within CARB. So  
19 Pat has given a very nice, brief introduction of our section.  
20 And so, for myself, specifically, I was involved in contract  
21 management and also doing in-house study with the purpose to  
22 understand California's exposure issue, air pollution,  
23 including -- toxins. And also we are looking for policies and  
24 management and technology to mitigate California's exposure.  
25 So we collaborated with a lot of federal and state agency to

1 find a way to help reduce people's exposures. Thank you.

2 MR. STRAIT: Excellent. Thank you very much.

3 Last, Kazukiyo Kumagai -- I hope I'm saying that  
4 correctly -- from the California Department of --

5 MR. KUMAGAI: Perfectly. Hi, my name is Kaz  
6 Kumagai. I am the lead of the Indoor Air Quality Program with  
7 California Department of Public Health which is located in  
8 Richmond. We basically work on any kind of IAQ issues. But  
9 recently we've been pretty busy on eval of the fatal actions  
10 being caused by e-cigarettes or marijuana; also wildfire. And  
11 this year, all of a sudden, we were pulled into COVID. But  
12 today I will be talking about some of the outreach work that  
13 we've done on emissions testing and dampness and mold. So  
14 that will sort of give you an idea of what kind of outreach we  
15 did help with the state. Thank you.

16 MR. STRAIT: Excellent. Thank you very much.

17 And, finally, Commissioner McAllister, would you  
18 like to introduce yourself to the audience?

19 COMMISSIONER McALLISTER: Great. Well, thank you,  
20 Peter. I'll just take the mic here for a little bit. You  
21 know, for my brief framing comments, as I sat down to think  
22 about what I would say, they ended up maybe not being quite as  
23 brief as I might have liked, so you'll bear with me. I wanted  
24 to make sure to give the necessary attention to this topic.

25 First of all, a few thank yous. Thanks to the

1 Atomsy (ph.) Groups collectively that are participating here  
2 today and just generally to raise awareness on this issue. I  
3 think by doing so you're elevating this in an appropriate way,  
4 and it is time for us to address during our code update  
5 process. So it's really -- thanks for asking us to do this,  
6 and we certainly wanted to respond.

7           And I also wanted to thank all the industry groups  
8 collectively, again, for their recent work on a number of  
9 fronts but in particular developing a new standard for range  
10 hood capture efficiency. So that's very timely to provide the  
11 new tool in our toolbox. It's certainly another lever we can  
12 pull to help influence how our buildings perform. It's a very  
13 new standard and it's still sort of in the consensus  
14 development process. But it is a positive development, so  
15 we're thankful for that. We need all the tools we can to  
16 address this issue.

17           And then, finally, I want to thank our sister  
18 agencies, the ARB and the Department of Public Health and  
19 others, for their willingness and ability to dedicate some  
20 staff resources to this and work together as participants in  
21 this workshop. And certainly, you know, helping the agencies  
22 to respond to this pressing issue, certainly this and other  
23 issues that are increasingly coming to the floor in today's  
24 reality, and that's kind of what I wanted to talk about a  
25 little bit just to contextualize this.

1           So, you know, right now, over the weekend and  
2 Monday, Tuesday, we have two fires that are still basically  
3 uncontrolled, the Zogg fire up in Shasta and the Glass fire in  
4 Napa and Sonoma. I mean, Napa and Sonoma, again, you know,  
5 it's some set of developments that are creating the foundation  
6 for this devastating, just horrific development that we're now  
7 seeing basically every year. I mean, these harrowing  
8 situations are just something that are a direct impact of  
9 climate change and they are something that we have to deal  
10 with.

11           In California, we really are on the front end, on  
12 the leading edge. We live in a rapidly and dramatically  
13 deteriorating climate situation. And mitigation and  
14 adaptation are both front and center. You know, we need to  
15 mitigate as much as we possibly can to stem the long-term  
16 effects of climate change. But adaptation to wildfire, to the  
17 way we build our buildings, to how we manage air quality,  
18 those investments also have to come in parallel, and this is  
19 happening really faster than we had wished it would have. But  
20 it is happening, and it's just facts that we have to deal  
21 with, so, you know, mitigation by reducing the contributions  
22 we're making to the greenhouse gas burden through efficiency,  
23 renewables.

24           Very excited about the load flexibility discussion  
25 in order to help incorporate renewables more quickly and

1 effectively and then adaptation, you know, adjusting how we do  
2 business in this day, how we build for resilience to the  
3 massive insults that climate change is now thrusting upon us.  
4 And indoor air quality is an important component of this  
5 overall context. And, again, we're learning quickly. And I  
6 want to just, again, thank the experts that you've already  
7 heard the introductions from that are going to contribute the  
8 substance to today and going forward. And we've really got to  
9 find ways to accelerate our responses on both fronts,  
10 mitigation and the adaptation.

11           So we must base our decisions on where to take the  
12 building code on the best information available. And the  
13 state of knowledge is evolving, as we'll hear today. You  
14 know, what we know about exposure patterns, what that looks  
15 like in reality across the diversity that we have in  
16 California -- you know, we're a huge state, 40 million people,  
17 incredible geographic, cultural diversity, incredible  
18 diversity of building stock. Existing buildings and new  
19 buildings often require distinct conversations and distinct  
20 research, so we have to capture that diversity.

21           And then what we know about the health impacts of  
22 that exposure, you know, the health science, there's obviously  
23 a long and robust history. We have ARB here today. There are  
24 decades and decades of research on the health impacts.  
25 Putting those in context of today and where we're likely to be

1 going in the future is also, you know, an urgent public health  
2 need.

3           So we have an obligation in the building code to  
4 care for public health, and that means doing a deep dive on  
5 indoor air quality, you know, the buildings and air quality  
6 inside the buildings built under those codes, and then apply  
7 the tools we have in the codes, the levers that we can pull to  
8 ensure healthy air. So we absolutely want to do that. That's  
9 why we're here today.

10           So today's workshop. Peter introduced it well so  
11 I'll try not to repeat too much. But you also have a workshop  
12 notice and it said, you know, incorporate recent advances in  
13 the scientific understanding of pollutants emitted during  
14 indoor cooking activities and the efficacy of equipment that  
15 minimally complies with existing ventilation standards. So  
16 that ventilation piece is something that we really need to  
17 push forward and help it evolve in a positive direction.

18           Several other organizations and members of the  
19 public reached out to the CEC and we really appreciate that  
20 and we want to respond to those concerns and ask specifically  
21 for a joint agency workshop together with the ARB, and so  
22 we're really thankful to have that collaboration with the ARB.  
23 There are a lot of complementary skills across our two  
24 agencies, and I think -- and authorities, as well, that  
25 complement each other, so working together and kind of

1 embracing those complementarities is something we absolutely  
2 want to do.

3           So the goal of this workshop is to solicit input  
4 from experts, feedback from stakeholders and members of the  
5 public ahead of the staff work, as Peter mentioned, in  
6 amending the standards, hopefully reaching consensus on the  
7 scientific record and then establishing with this the factual  
8 basis of ending the Energy Code for 2022. And we do this  
9 every three years, and I think in terms of our de-  
10 carbonization project, lots of interlinking themes here in  
11 terms of de-carbonization indoor and outdoor air quality. And  
12 so our building standards fit into that overall context, and  
13 it's also helpful to develop a long-term vision so beyond this  
14 workshop. And I'll talk a little bit about that in just a  
15 second.

16           So we'll get up to date from the experts on the  
17 state of the science of indoor air, specifically in the  
18 kitchen, and the patterns of that in the real world status in  
19 terms of pollutants and exposures, and then to locate this in  
20 the context of indoor air quality more generally. And then,  
21 second, to understand the impacts of those exposures on human  
22 health. And then, third, to look at solutions, including any  
23 necessary changes to the ventilation requirements, volumes  
24 controls, equipment, those possibilities within the building  
25 code, and that is to begin to map all of this to the options



1 we have under state and federal statute for purposes of the  
2 2022 update. So this specific workshop goes into that hopper  
3 for the staff to do that work and make a proposal to update  
4 the building code.

5           And we have a very substantive agenda today. I  
6 don't want to take up too much more time here so we can get to  
7 the main course. And that is the couple -- the pair of  
8 presentations in the 10:00 hour, first by Professor Yifang Zhu  
9 of UCLA, who will be with us at 10, and then Brett Singer of  
10 LBNL, who you heard from already. So having -- as an LBNL  
11 alum from Building 90 up there doing energy efficiency work  
12 and actually did a couple years' worth of work for myself.  
13 Early in my career made a stop up there doing low-income,  
14 multifamily public housing assessments of energy efficiency.  
15 And back then -- well, obviously, different context in the  
16 early 1990s, but, you know, these indoor environments and the  
17 equity lens that we increasingly look through are really  
18 critical to keep in mind as we have this indoor air quality  
19 discussion.

20           And I also just, finally, before I wrap up, want to  
21 point out that we really appreciate everybody putting their  
22 comments into the record already. We've seen a number of  
23 things come in to the docket already and then look forward to  
24 public comment today. And then further written comments are  
25 due on October the 12th, at 5 p.m., so I'm really looking

1 forward to all of that input.

2           And then I also wanted to note an upcoming workshop.  
3 So there's obviously a strong link between the discussions  
4 around indoor air quality and that around building  
5 electrification. And to put today in a bit more context in  
6 terms of the overall code update, staff is holding a workshop  
7 on October 6th -- the notice went out yesterday, I believe --  
8 to address how the standards might encourage greater use of  
9 electric (indiscernible) technologies for low-rise residential  
10 buildings, high-rise residential buildings, and selected non-  
11 residential building categories. So that's October 6th. And  
12 I look forward to many of you participating then, as well.  
13 Eugenna (ph.) just posted yesterday afternoon. So I wanted to  
14 just make sure to locate that today in that context of the  
15 discussion and identify platforms for participation going  
16 forward.

17           So, with that, I will pass the baton back to Peter  
18 from our Building Standards Office. And, Peter, really,  
19 thanks a lot to the Energy Commission staff. I want to thank  
20 you and the whole Building Standards Office and Payam and  
21 others for organizing today. A lot of schedules and logistics  
22 to work through, and I'm glad it's really come together for a  
23 substantive set of presentations. So thank you very much.  
24 And back to you.

25           MR. STRAIT: You're welcome. I am very glad that we

1 were able to pull this together as we were. I know we did  
2 this on a pretty rapid turnaround, and I appreciate your  
3 patience, as well, with us ironing out some of the bumps with  
4 bringing everyone to the table.

5           So, with that, I'm going to share my screen again so  
6 that I can tee up a PowerPoint presentation. Let me see where  
7 that is. Here we go. So, again, for those that might have  
8 been joining a little bit late, this is a Commissioner Hearing  
9 on Indoor Cooking, Ventilation, and Indoor Air Quality. We  
10 are having a Pre-Rulemaking Hearing and Panel Discussion.  
11 That means that we are before the formal rulemaking cycle that  
12 will start early next year. This is an opportunity for us to  
13 take commentary where we have a lot of flexibility to design  
14 and craft language and consider alternatives and options.  
15 And, therefore, the main goal of this from a staff perspective  
16 is to create the record needed for an update to our rules  
17 while we have the flexibility to consider all of the  
18 alternatives that are on the table.

19           We've already gone over the agenda. So just by way  
20 of an amount of background, first: Recent advances in the  
21 understanding of pollutants generated by indoor cooking -- and  
22 that means cooking activities as well as cooking  
23 equipment -- and including research published by UCLA and by  
24 the Lawrence Berkeley National Laboratory, have called into  
25 question the sufficiency of existing kitchen ventilation

1 standards.

2           Several public advocates, including the Sierra Club,  
3 have requested a hearing based on these studies and a  
4 summarizing paper published by the Rocky Mountain Institute.  
5 And we are happy to meet that request.

6           And this is a little bit of behind-the-scenes inside  
7 baseball, but a portion of LBNL's research characterizing the  
8 capture efficiency of range hoods led to development of an  
9 ASTM standard, ASTM E3087, which is a method of testing and  
10 determining that statistic for equipment. The ASHRAE 62.2  
11 Range Hood Working Group -- and ASHRAE 62.2 is a model code  
12 relative to indoor air quality in residential buildings.  
13 Their Range Hood Working Group made recommendations for  
14 development of a Home Ventilating Institute or HVI rating  
15 procedure based on this new standard, which resulted in the  
16 HVI 917.

17           HVI is one of the major rating bodies for kitchen  
18 range hood equipment. I know that the Association of Home  
19 Appliance Manufacturers or AHAM also has a rating program that  
20 they have, and this is something that, on the industry side,  
21 you can have your products officially rated and certified to  
22 operate according to their stated statistics so that folks  
23 that are making the choice of model know how much airflow  
24 they're getting, how noisy it's likely to be, and these other  
25 aspects that can really influence their decision and their

1 likelihood to use this equipment.

2           Similarly, the Range Hood Working Group is a  
3 consortium of various industry representatives and they are a  
4 consensus-drive process, so this is something occurring with a  
5 lot of industry input. It can be a process that can happen on  
6 varying time scales, but this happened to line up very nicely  
7 for consideration of this topic.

8           The problem statement that we have is that  
9 pollutants resulting from indoor cooking activities, and these  
10 pollutants include nitrogen oxides, carbon monoxide, fine  
11 particulates, and a few others, can reach levels that affect  
12 human health.

13           Minimum standards for kitchen ventilation, and  
14 specifically for kitchen range hoods, may not reduce the risk  
15 of exposure to harmful amounts of these pollutants to a  
16 sufficient degree. You know, the standard that's currently in  
17 ASHRAE 62.2 is a minimum standard, and we're trying to find  
18 out how that aligns with what the need for ventilation is in  
19 that space.

20           Fan noise may also contribute to occupants avoiding  
21 the use of their hoods. That is even in cases where these are  
22 installed. The fact that some of these pollutants are  
23 odorless, colorless, you can't necessarily tell how much of  
24 them are there, means that folks may avoid the use of the  
25 range hood for any number of reasons or simply forget to turn

1 it on.

2           And staff are therefore seeking to create a  
3 rulemaking record that: First, establishes that there is a  
4 need for greater stringency based on scientific data; and then  
5 supports the adoption of a specific enhanced minimum standard.  
6 So we both have to show that there really is this problem but  
7 also justify any particular landing point that we decide to  
8 reach. So those are the primary things that staff needs to  
9 accomplish in order to bring this into a rulemaking as we plan  
10 to do.

11           Sections affected, for those that are code gophers  
12 like I am, that like to dig into this stuff, I mean, the  
13 Energy Code sections that apply to these requirements are  
14 Section 120.1(b)2. This applies to the ASHRAE 62.2  
15 requirements to attached dwelling units in multifamily  
16 settings.

17           And then Section 150.0(o) applies ASHRAE 62.2  
18 requirements to low-rise and detached dwelling units.

19           These ASHRAE sections are specifically in ASHRAE  
20 62.2 Section 5. That's where we have a minimum airflow rate  
21 of 100 CFM.

22           And ASHRAE 62.2 Section 7.2 has a three sone maximum  
23 on sound. However, this is a maximum at quote/unquote working  
24 speed, which might not apply to the higher speeds -- like,  
25 either the maximum speed setting of a kitchen range hood or

1 the higher speeds that we're finding to be necessary to  
2 accomplish sufficient ventilation in that context.

3 More about the regulations. Ventilation and  
4 filtration standards have been a longstanding component of the  
5 Energy Code. And, in fact, reference to ASHRAE 62.2, and the  
6 2007 version specifically, was added to the 2008 Energy Code.  
7 So these are requirements that have been present for over a  
8 decade. We've recognized the need for kitchen ventilation for  
9 it to be effective and this feeds into the ventilation  
10 standards that are throughout both the residential and non-  
11 residential buildings, including reference to other ASHRAE  
12 standards. You know, not every state references ASHRAE's 62.1  
13 or 62.2, but we make sure to here in the Energy Code.

14 Ventilation standards are unique relative to other  
15 efficiency standards because they have to address both under-  
16 ventilating and under over-ventilating. That is, if we were  
17 to simply say you can't use more than X amount of energy  
18 because it would be excessive, someone might choose to use  
19 less energy by just not providing sufficient ventilation. We  
20 have to prevent that circumstance. At the same time, we don't  
21 want someone turning their residence or a commercial setting  
22 into a wind tunnel because they were able to up-sell some of  
23 the equipment well beyond what that space needs. So we have  
24 to look both at how effective that equipment is and make sure  
25 we're requiring that enough be present but not too much.

1           Ventilation standards also cover a multitude of  
2 equipment types and ventilation approaches. Our standards  
3 generally try to be technology agnostic. We say there are  
4 many ways to solve the problems that you have in a building,  
5 ventilation being one of them, and we're not trying to put our  
6 thumb on the scale and say one approach is better than  
7 another. All we're trying to do is say when you take this  
8 approach, when you use this piece of equipment, that equipment  
9 is effective and it is sufficient to do what you're stating  
10 that its purpose is to be.

11           So, with that, I'm going to turn it over to our  
12 first staff presentation, talking some about the research that  
13 the Energy Commission has directly participated in or been  
14 associated with and some of the work we've been doing up to  
15 this point to advance these standards and our understanding of  
16 ventilation and kitchen ventilation specifically. So let me  
17 stop sharing my screen.

18           And, Susan, would you like to take over? Susan, you  
19 are still muted.

20           MS. WILHELM: Thank you, Peter. I trust you can  
21 hear me now.

22           MR. STRAIT: Yes.

23           MR. BOZORGCHAMI: I apologize, Susan. This is  
24 Payam. Can you just state your name and your affiliation? We  
25 have to do that for the recording. Sorry about that.



1 MS. WILHELM: Yes, yes, yes. Yes, thank you. I am  
2 Susan Wilhelm. I am team lead for energy-related research at  
3 the California Energy Commission, and I'm really delighted to  
4 be here today and to offer you an overview of the Energy  
5 Commission's indoor air quality research.

6 I will start by saying a few words about where our  
7 funding comes from. Then I want to highlight some key  
8 findings of our past research with pretty much an exclusive  
9 focus on our residential work. I want to say a few words  
10 about important research gaps. And I'll close just by letting  
11 you know how you can stay involved, how you can be aware of  
12 research opportunities, or aware of opportunities to submit  
13 comment or otherwise be involved with public process.

14 So the Energy Commission has a large R&D program.  
15 We invest strategically in research and development to support  
16 California in achieving its ambitious policy goals. A portion  
17 of funds from two of our funding sources, namely the Electric  
18 Program Investment Charge or EPIC and the Natural Gas Research  
19 Program, support energy-related environmental research.

20 The energy-related environmental research program is  
21 fairly broad. We do research to help ensure that our clean  
22 energy future is protective of public health, equity,  
23 environmental resources, and that our energy system is  
24 resilient to the changing climate that Commission McAllister  
25 spoke about earlier. Indoor air quality is one subtopic of

1 the work that we do.

2           And our funding sources, just to say a few words  
3 about them, are able to target public interest research that  
4 isn't otherwise covered by market actors and that, you know,  
5 benefits the people who are consuming gas and electricity in  
6 the state.

7           Our indoor air quality work has been highly  
8 leveraged by the U.S. Department of Energy, and the U.S.  
9 Department of Energy has also provided co-funding for some of  
10 the studies that you've supported on California buildings.

11           So let's jump in to some of the key findings of our  
12 indoor air quality research. And again, I'm going to focus on  
13 residential work, but I'd like to note that we have also  
14 supported substantial research on indoor air quality in  
15 California's commercial buildings and schools.

16           For more than ten years our indoor air quality  
17 research program has been supporting development of healthy  
18 Title 24 standards. You're going to hear a lot more about  
19 this today, so I'm just going to point to a few highlights  
20 spanning, you know, reports released between 2009 and 2020.  
21 Way back, research established a need for mechanical  
22 ventilation in new homes. You know, as we're tightening homes  
23 and, you know, creating homes with lower air exchange rates,  
24 we've got to have mechanical ventilation to address air  
25 quality concerns. CEC-funded work also found homes, a lot of

1 homes, with natural gas cooking routinely experienced  
2 concentrations of nitrogen dioxide that exceed healthy  
3 thresholds. This goes for both ventilated and unventilated  
4 kitchens but is typically worse in kitchens without  
5 ventilation.

6 A study of new homes built after Title 24 started to  
7 require minimum mechanical ventilation found that most systems  
8 were meeting the airflow requirements from a technical  
9 standpoint, but many systems weren't being used as intended,  
10 and poor labeling of systems controls may be a contributing  
11 factor to misuse and underuse.

12 Also -- research that meeting minimum airflow  
13 requirements as they're now framed isn't sufficient to ensure  
14 adequate removal of pollutants. For example, most new homes  
15 still are not meeting the referenced exposure level for  
16 formaldehyde. And we've also seen that a given airflow  
17 doesn't ensure adequate capture and efficiency, which is the  
18 more relevant metric for performance from an indoor air  
19 quality and health standpoint.

20 In addition to research that directly supports Title  
21 24 standards, CEC has also funded research to improve  
22 approaches to building tight homes with ventilation systems  
23 that are designed with both health and energy use in mind.  
24 LBNL's Residential Energy Savings from Air-Tightness and  
25 Ventilation or RESAVE study found substantial health impacts

1 associated with indoor air pollution in California. About 400  
2 to \$1100 per person, per year, for tens of millions statewide.

3           The study also developed a priority list of  
4 contaminants to support evaluation and strategies for  
5 improving indoor air quality. The research team found that  
6 tightening residential envelopes could decrease residential  
7 energy demand substantially. And from an implementation side,  
8 the study found that proper commissioning of residential  
9 systems as well as development of range hood performance  
10 ratings was, at that time, very much needed. And as you heard  
11 from Peter, progress has been made, at least with regard to  
12 range hood performance ratings.

13           The state also, you know, pointed out that there are  
14 opportunities for smart ventilation which strategically times  
15 ventilation to address concerns related to health and energy,  
16 opportunities to save 30 to 50 percent of ventilation-related  
17 energy.

18           CEC-funded research has also funded development of a  
19 framework to integrate concerns related to energy and indoor  
20 environmental quality in the context of multifamily home  
21 retrofits. So the issue here is that existing protocols and  
22 tools to support selection and implementation of housing  
23 energy retrofits typically are based on energy use models,  
24 engineering judgment, kind of simple financial cost-benefit  
25 analysis, but they rarely consider potential positive or

1 negative effects of retrofits on indoor environmental quality.  
2 This work found that energy retrofits in multifamily housing  
3 can improve both comfort and indoor air quality in addition to  
4 saving energy, but an integrated approach is needed to  
5 encourage apartment energy retrofits that provide indoor  
6 environmental quality benefits. And I would say that  
7 additional work is needed in this area.

8           Building on prior research related to ventilation  
9 strategies that optimize for energy consumption, air quality,  
10 and occupancy, CEC supported a study on smart ventilation for  
11 advanced California homes. The research team at LBNL found  
12 that simple and inexpensive controls could reduce ventilation-  
13 associated energy use by at least half for new and existing  
14 homes in California and across, you know, a range of climates  
15 that we have in this state. These simple controls involve  
16 single-zone ventilation that basically they're -- based on  
17 outdoor temperature so that you're not needing to do extra  
18 space conditioning of that outdoor air. The study found that  
19 multi-zone ventilation approaches didn't show much potential  
20 for additional energy improvements. And I would note that  
21 LBNL's analysis here considered total energy consumption as  
22 well as cost and a time-of-use rate structure and peak energy  
23 demand.

24           Next, I'd like to briefly touch on knowledge gaps  
25 that merit further consideration. So this slide is my laundry

1 list of issues that we need to consider to improve our ability  
2 to provide healthy indoor environments in a cost-effective and  
3 energy-efficient way.

4 Title 24 applies, as you know, to new construction  
5 and building renovation, but we need strategies for existing  
6 homes and, in particular, for the multifamily buildings that  
7 are typically occupied by low-income renters and, you know,  
8 that are prevalent in disadvantaged communities. We may need  
9 additional guidance to support indoor air quality in occupied  
10 buildings as they're operating in the real world. You know,  
11 we saw from some of our earlier studies that putting standards  
12 out may not be enough. There's also the operations side of  
13 things.

14 It's undeniable that climate change is impacting our  
15 state. And one of those impacts is that it is exacerbating  
16 extreme heat in California. This brings up a number of  
17 issues. A new design for the energy ramifications, the  
18 building energy use ramifications of extreme heat episodes  
19 that are more frequent, more extreme, and that are prevalent  
20 over a broader range of California, and how do we design for  
21 resilience in the case of public safety power shutoffs during  
22 extreme heat episodes? As we know, and as some of you may be  
23 experiencing at this moment, wildfires can have enormous  
24 impacts on indoor air quality. If you don't already have an  
25 air purifier, I recommend it.

1           And we'd like to know more about both the economic  
2 and health dimensions of equity impacts of energy-related  
3 interventions in multifamily homes. And, you know, we talk a  
4 lot about equity impacts from a cost standpoint, but as we saw  
5 on a prior slide, exposure to poor indoor air quality in  
6 California is a substantial cost in our homes, and there's a  
7 health side to this equity issue as well. We need to make  
8 sure that we are providing indoor air quality to low-income  
9 and disadvantaged communities.

10           I would note that new homes in California, for the  
11 most part, still exceed OEHHA's formaldehyde standards.

12           And, finally, although our focus today is  
13 residential, it's too relevant not to mention the fact that we  
14 need to develop controls and strategies to help address  
15 commercial building operations for smoke, for pandemics, and  
16 other exceptional situations.

17           So in the context of all of those important issues,  
18 I've put forward a few research gaps. While it seems from  
19 prior research that regulations and standards aren't enough to  
20 guarantee healthy indoor air quality and that we need to  
21 support the operations phase as well; how do we do that best,  
22 and what kind of controls might we need in multifamily  
23 buildings?

24           Secondly, improved understanding of people's actual  
25 exposures to and the health impacts from indoor air pollution

1 in residential kitchens is needed. And we especially need a  
2 more nuanced understanding of exposures and health impacts to  
3 vulnerable populations, to the elderly, to asthmatic children,  
4 and others who are particularly vulnerable.

5           As you saw in my earlier slides, CEC has funded some  
6 earlier work -- early work on developing an integrated  
7 framework for indoor environmental quality and energy  
8 implications of building energy retrofits, but we need to do  
9 more to quantify and leverage the synergies between healthy  
10 homes and energy efficiency retrofits. We need to do this in  
11 a manner that helps us incentivize retrofits with health  
12 benefits.

13           More work remains -- especially in multifamily  
14 context and even more so in commercial buildings -- to develop  
15 cost-effective strategies that balance concerns related to  
16 cost, indoor air quality and microbes, and we also -- as I  
17 mentioned earlier -- need to design our buildings to operate  
18 reliably and resiliently in a changing climate.

19           And, finally, point number five here, I'd just say  
20 that there are several issues that need further exploration in  
21 the context of multifamily retrofits. You know, we still need  
22 to understand more about whether retrofitting the multifamily  
23 envelope is enough or if we need to internally seal between  
24 units. And I would also point out there's still the  
25 outstanding issue of potential health impacts of spray foam



1 insulation.

2           So I'd like to invite everyone to follow the Energy  
3 Commission's energy-related environmental research program.  
4 You can stay informed of research opportunities as well as  
5 workshops by going to our listserv page and subscribing to the  
6 appropriate listservs. And I would point out that our  
7 workshops include workshops to engage the public when we're in  
8 the process of planning what research we're going to fund.  
9 And in my group we typically also do workshops prior to  
10 release of a research solicitation because we like to sort of  
11 socialize what we're thinking in a public forum and get input  
12 from stakeholders and the research community.

13           You can always submit public comment. We read  
14 everything you say. I know many of you have submitted  
15 comments already to the Title 24 docket. But we also have an  
16 energy research and development ideas exchange, and you can  
17 let us know what you think about our research program or  
18 research gaps through that forum.

19           I'd like to thank the researchers and staff who are  
20 behind the success of our indoor air quality research. We dug  
21 up a list of all the work that we've -- the final reports  
22 we've published from indoor air quality research program over  
23 the past 14 years. And I'd like to call out our colleagues at  
24 Lawrence Berkeley National Lab in particular. I think you'll  
25 hear from Brett Singer later today as well as Iain Walker, and

1 thank you both, as well as others on your team. And a final  
2 thank you to staff who have managed our past work in this  
3 area. And a welcome to Alex Kovalick and Maninder Thind who  
4 recently joined and will be supporting our indoor air quality  
5 work moving forward.

6 And you can always reach out to me now or later with  
7 any questions. Thanks.

8 MR. STRAIT: Thank you very much.

9 So very quickly I notice two questions in the chat  
10 and one coming in through the Q&A. Two of the question chat  
11 are just general.

12 First, will presentation materials be made available  
13 after this workshop? Yes, staff will be docketing our  
14 presentations into the pre-rulemaking docket, so they will be  
15 available. Other panelists are invited to do the same.  
16 Obviously, if they are -- it's up to them whether they would  
17 like to submit that to the public record. But if there is no  
18 reason not to, then we would ask that they do so.

19 Then someone asked if there's anything we can do to  
20 improve a particular person's audio quality. Unfortunately, I  
21 do not have access to an enhance or a turbo button, so we will  
22 do what we can to resolve issues. But in the case that there  
23 are any technical difficulties, we will simply pause the  
24 presentation or the work that we're doing for a couple of  
25 minutes to see if we can sort it out. This may also, though,

1 be a situation where the show must go on. You know, we've had  
2 situations where, in the middle of a presentation, there are  
3 significant power outages taking part of Sacramento out. And  
4 if something like that happens, we'll just have to work around  
5 it. So we'll do the best we can.

6 COMMISSIONER McALLISTER: Hey, Peter, actually, I  
7 wanted to just -- we've had, you know, a lot of workshops, and  
8 if presenters could -- if they're on their computer audio and  
9 using the mic from their computer, often it helps the quality  
10 to switch over to phone call. So you can have Zoom actually  
11 call you on your phone, and that tends to -- if that's the  
12 issue, that tends to improve audio quality. So that's on the  
13 presenter's side.

14 MR. STRAIT: Yeah, yeah. And if anyone is coming in  
15 or, for whatever reason, has to come in as an attendee but is  
16 here to be a panelist, you can raise your hand in the box, and  
17 I can note your name and see if you're on the invite list and  
18 promote you and if need be -- because generally the way Zoom  
19 works is you'll get a unique link if you are to be a host, a  
20 co-host or a panelist. But if there's a problem with that  
21 link and you have to come in using the general link, we have  
22 ways of solving that, so it shouldn't be too big of an issue  
23 there.

24 We also received one question in the question and  
25 answer box asking what upcoming workshops we have to address

1 extreme heat adaptation, mitigation, and building resilience.  
2 We have additional workshops scheduled on different topics  
3 that have been proposed for update in the energy code. These  
4 include measures that do have a beneficial effect on  
5 adaptation and mitigation. We're looking at a small amount of  
6 insulation improvements. We're looking a great deal at  
7 integration and advanced controls. So those topics are  
8 threaded through on these kind of system-by-system workshops  
9 that we're doing. Folks that have the interest, we would  
10 invite anyone to participate in these additional workshops.  
11 Some of the notices are already on our docket and some will be  
12 published. If you're not already on our listserv, please go  
13 ahead and add yourself to the listserv so you can be notified  
14 of all of the workshop notices that we put out and so that you  
15 can gain the benefit of participating on each of these  
16 building-system-by-building- system workshops.

17           COMMISSIONER McALLISTER: I wanted to comment a  
18 little bit on this as well. Thanks for that question. So  
19 there is -- so Title 24 -- one forum for that discussion on  
20 resilience -- there certainly is some legislative activity on  
21 fire response that does affect builders and how buildings get  
22 done that are outside of Part 6 but will affect the building  
23 code broadly. And then also beyond the building code itself,  
24 the Energy Commission does a lot of work around the climate  
25 impacts and extreme heat impacts on the energy systems of the

1 state themselves. And so I think that's one place where, you  
2 know, we see power plants getting less efficient, we see  
3 transmission having a capacity that has to be de-rated when  
4 you have extreme heat. You know, obviously we have system  
5 planning issues and resource adequacy that are meant to ensure  
6 that our electricity and natural gas systems are protected,  
7 and certainly the electricity system has enough capacity  
8 available, sufficiency, but also the resource adequacy program  
9 is making sure that those resources are available for any  
10 contingencies.

11           And increasingly, the load flexibility -- you know,  
12 it's a tenuous connection with indoor air quality, but it is a  
13 renewables issue and a local renewable integration issue as  
14 well. Flexibility of our buildings is a way that we can  
15 improve their performance with respect to climate change for  
16 sure. And so, again, those are all tools that we have in the  
17 toolbox for the overall greenhouse gas and energy optimization  
18 discussion. So there's a lot of moving parts, a lot of gears  
19 in the machine here, and Title 24, Part 6, is one of those.  
20 So, anyway, hopefully that helps.

21           It's challenging to be involved in all of these  
22 forums just as a human with limited time, but we certainly  
23 think that Part 6, which is our core responsibility here, is  
24 an important forum to level set and to provide access to  
25 participation to affect the building code for stakeholders.

1 So thanks for that question.

2 MR. BOZORGCHAMI: Peter, we also have Ms. Elizabeth  
3 Scheehle. She raised her hand. I'm going to unmute her.

4 And please state your name and your affiliation. It  
5 looks like you're muted.

6 MR. STRAIT: Yeah, one other quirk about Zoom. We  
7 can enable someone to unmute themselves, but then they also  
8 have to unmute themselves, so it's a two-step process as  
9 opposed to some of the other web tools we've used like Webex  
10 in the past -- do it a little bit more quickly.

11 But, Elizabeth, you're live.

12 MS. SCHEEHLE: I apologize. Maybe I misunderstood.  
13 I am introducing one of the items for CARB later on and I  
14 thought you said to raise your hand if you needed --

15 MR. STRAIT: Absolutely. I was just going to ask if  
16 you are representing a panelist. Let me just go ahead and  
17 promote you right now.

18 MS. SCHEEHLE: Thanks.

19 MR. STRAIT: Boom. There we go. And hopefully that  
20 didn't automatically re-mute her. I think it might have. But  
21 panelists are able to freely mute and unmute themselves and  
22 share their screens.

23 MS. SCHEEHLE: Thank you.

24 MR. STRAIT: You're welcome. I do know also that we  
25 are expecting some attendants or participants -- if they can

1 find the time from -- gosh, I'm going to get it wrong if I try  
2 to spell it out -- but OEHHA, the Office of Environmental and  
3 Human -- oh, geez, I will mess it up. But another one of our  
4 state agencies dedicated to -- oh, here we are. Yeah, let me  
5 promote this first panelist. Boom.

6           It looks like Yifang -- and I hope I'm saying that  
7 right -- has just joined us. Welcome.

8           COMMISSIONER McALLISTER: Welcome, Professor Zhu.  
9 We're all waiting for our hard start at 10:00, so thanks for  
10 fitting us in to your schedule.

11           So, Peter, why don't we move forward with this next  
12 panel?

13           MR. STRAIT: Absolutely. Yifang, you should be able  
14 to share your screen. Let me know if you have any issue doing  
15 so.

16           MS. ZHU: All right. Does it work for everyone?  
17 Can everyone see my screen?

18           COMMISSIONER McALLISTER: Yes, thank you.

19           MR. STRAIT: Yes. And thank you very much for  
20 making yourself available for this.

21           MS. ZHU: Oh, happy to be here. And thank you for  
22 having me. Just let me know when you're ready to start -- for  
23 me to start.

24           MR. STRAIT: Absolutely. Go ahead.

25           MS. ZHU: All right, okay. So thank you for

1 allowing this opportunity to share some of the results from  
2 our study supported by Sierra Club on the facts of residential  
3 gas appliance, indoor/outdoor air quality, and public health  
4 in California. So instead of sharing PowerPoint slides, I  
5 want to walk you through this story map. The reason is this  
6 story map, we find, is more interactive and actually provide  
7 more degree levels of details of data to walk you through  
8 about what we found.

9           To just give you some overview about our main  
10 funding in this research project, it's really mainly in three  
11 parts. The first part is about indoor air quality. So  
12 overview, we found residential gas appliance, they meet a wide  
13 range of pollutants including carbon monoxide, nitrogen  
14 dioxide, and fine particulate matter, including ultrafine  
15 particles. And use of those gas appliance in indoor  
16 environment, they can result in (indiscernible) conditions and  
17 hazardous levels of indoor air pollution. And we also  
18 estimate those gas appliance contribution to outdoor air  
19 pollution in California and with mainly the gas water heater  
20 and the home heating devices. They are the most important  
21 ones that contribute to outdoor air pollution.

22           And we also ran a simulation study where we  
23 basically assumed that all the fossil fuel burned gas  
24 appliance get transitioned into clean energy-generated  
25 electricity-operated gas appliance. And then we calculate how



1 much PM 2.5 will reduce -- will be reduced in the air and how  
2 much life can be saved and how that translate into monetized  
3 house benefits. And we did the study through -- also through  
4 the lens of environmental justice considerations. The reason  
5 is, number one, disadvantaged communities, they're already  
6 disproportionately experiencing poor housing conditions and  
7 they're already living in old (indiscernible) gas appliance.  
8 They use those gas appliance. It makes it very hard for them  
9 to retrofit or engage in any incentive programs to replace  
10 their old ones to electric ones.

11           And those lower income communities, they're usually  
12 also families. They're usually in apartments, they're  
13 renters, and so they may not have control over what kind of a  
14 gas appliance replacement and maintenance they can have  
15 control over. And those vulnerable communities, they're  
16 already experiencing some cumulative impacts of  
17 (indiscernible) environmental and social conditions. So the  
18 air quality impact from the use of gas appliance to  
19 potentially compound on those existing stressors they already  
20 have to experience in those communities.

21           So this story map will be -- make it interactive.  
22 Like, for example, when we talk about disadvantage community,  
23 you can click on this, and it will direct you to the OEHHA  
24 website or disadvantaged community definitions, and the maps  
25 are readily available.

1           And the report is actually already published. You  
2 can access the report by click on this link in our story map,  
3 and that will direct you to UCLA Center for Occupational and  
4 Environmental Health website where you can download the whole  
5 report by clicking on this link.

6           So let's get into the details about the study. The  
7 study starts, you know, starting with some background about  
8 natural gases. In this study we basically use gas and natural  
9 gas interchangeably as our vocabulary. And they're  
10 responsible for electric generation, building and heating and  
11 cooling. And we know in California gas is still the primary  
12 energy source. And over 2.1 trillion cubic feet of gas got  
13 consumed in 2018. So that translate into about 20 percent of  
14 residential consumption itself make up 20 percent of the  
15 overall pie of all the gas that is consumed in California, and  
16 that is equivalent to about 7.1 percent of the natural gas at  
17 a national level. And more than 90 percent of the household  
18 use gas for at least one purpose. And when it comes to  
19 cooking, almost 70 percent of the household they actually use  
20 gas for cooking purposes.

21           So you can move on, just click on, and continue  
22 going through the story map. We're going to get into some  
23 health effects about those pollutants. So the pollutants that  
24 is related to gas appliance usage that including -- click on  
25 that. You can click on the link. It will direct you to the

1 CDC and EPA website where they're going to talk about those  
2 pollutants and their health effects. You can get more input  
3 information from those websites. And specifically to chronic  
4 and acute health effects associated with gas, with pollutants  
5 emitted from those gas appliances, you can click on table like  
6 this, and it will pop up and show what are the acute and  
7 chronic effects for nitrogen oxide and carbon monoxide, fine  
8 particulate matter, ultrafine particles, and formaldehyde.  
9 And they also give you link specific to what is going on  
10 which -- where we see this table in the report.

11           So this gives a sense about the type of pollutants  
12 that are associated with gas appliance usage. And just  
13 examples of those residential gas appliance that we are  
14 focusing on in this particular study including heating  
15 devices, water heater, oven, and stove. And the reason that  
16 we are interested in their usage in the indoor environment and  
17 the potential health effects and exposure levels is we know  
18 people, in general, spend more than 90 percent of their time  
19 indoors, so emissions coming out from those gas appliance  
20 could potentially contribute a substantial portion of their  
21 total daily exposures to those different type of pollutants.

22           If we move down, then we actually did a simulation.  
23 This is, again, focusing on the cooking but not quite factor  
24 in the cooking food side but just running the gas appliance by  
25 doing cooking activities. So if you click on this table --

1 figure -- it will show you under a scenario where we actually  
2 estimated the gas appliance during cooking how much CO and NOx  
3 levels we expect when both oven and stove are used for about  
4 an hour to two hours. And we put those into context about the  
5 current National Ambient Air Quality Standards and California  
6 Ambient Air Quality Standards. I want to put a note here  
7 because currently there's no indoor standard for any of those  
8 pollutants. So technically speaking, you cannot violate  
9 Ambient Air Quality Standards indoors. Nevertheless, we want  
10 to put those kind of standards on those figures just to give  
11 you a comparison about the level that we are seeing here. So  
12 CO is not a real -- you see they're pretty low nowadays from  
13 the emission in the gas appliance, but NOx could be high. And  
14 then the NOx, especially in the apartment -- again, this is  
15 related to the environmental justice issues. People living in  
16 smaller spaces have less space to dilute and vent their  
17 cooking emissions from the gas appliance, and they experience  
18 high levels of NOx exposures from those gas appliance.

19           So the emissions data that we've got to calculate  
20 those indoor concentration levels are basically compiled from  
21 a literature search. We compiled a long list about what kind  
22 of gas appliance are out there, what is their energy, how much  
23 fuel they have to burn, and what is the emissions factor for  
24 each gallon fuel it burned, and so on and so forth. So with  
25 those emission data, we put it into an indoor dynamic model

1 and estimate the indoor levels and/or different scenarios.

2           So moving on. Here are the specifics about how the  
3 data are calculated. If you're interested in reading more  
4 details about the method, you can go to the report, and there  
5 is a (indiscernible) with all the details and method that is  
6 highlighted in the report.

7           And then through our study we also found there's a  
8 lot of missed opportunities for California residents to reduce  
9 their exposures. For example, we found there's only less than  
10 35 percent of California residents actually use range hood,  
11 and when they use them they might not even use them properly,  
12 although it may not be maintained properly. So that is, you  
13 know, to us, I think it's a missed opportunity. In practice,  
14 we can recommend to use those range hood more regularly and  
15 make sure they are properly sized for the oven or stove you  
16 are using and they're properly installed and maintained. And  
17 that the proper ventilation is to be vented outdoors, not just  
18 circulated. There's some certain type of range hood that  
19 actually circulate within the indoor air. That's not helpful.

20           And also we found there's a very big data gap in  
21 terms of a hot water heater and furnace that's supposed to  
22 vent their emission outwards, whether they're going to leak,  
23 to what extent they leak actually indoors. So we found good  
24 amount of primary literature to specifically looking into  
25 that.

1           And then, in general, we just don't know how old  
2 gas-powered appliance are maintained in those residence. So  
3 those are issues, I think, needs to call attention and then  
4 probably with future data collection and research to look  
5 deeper into those issues.

6           And exposure and vulnerability considerations. As I  
7 mentioned, there's always additional consideration in the  
8 disadvantaged community. They disproportionately experience  
9 poor housing conditions, and there's some evidence showing  
10 that even children in lower income families, they actually  
11 spend more time relative to others because they don't have  
12 other places or back yard to go to. And also there's -- I  
13 mentioned there's exceeding of CO and NO2 levels were higher  
14 for apartments because their size is small and there's maybe  
15 even more number of people living in those smaller spaces. In  
16 particular, add to the concerns about overcrowding rate, you  
17 know, average, especially in those disadvantaged communities.  
18 So adding all of those together, they put additional risk for  
19 environmental justice communities across California.

20           So the second part of our analysis for assessing  
21 outdoor air quality and health effects and -- so mainly  
22 focusing on the total emissions. So this is a study that we  
23 basically look into what kind of pollutants, which appliance  
24 in the indoor gas appliance can contribute to those emissions.  
25 So it's not surprising that heater and water heaters --

1 because they're supposed to vent outdoors -- are the main  
2 contributors to NOx levels and (indiscernible) environment.  
3 So the analysis actually focusing on NOx and then related  
4 secondary particulate matter PM 2.5, and primary PM 2.5, from  
5 those two types of gas appliance.

6           So in this study we did a simulation, scenario where  
7 we basically went through -- first went through in each  
8 county, how much NOx -- take NOx as example. Click on this.  
9 It will show you in each county how much NOx, nitrogen oxide,  
10 are emitted each year. And you can click, and it's not  
11 surprising Los Angeles has the highest level. But you can  
12 also move your cursor around and get more specific data at  
13 each county level. And while this -- the gas appliance  
14 actually comprise 3 percent of total NOx is actually close to  
15 all the light-duty passenger vehicles through the state.

16           So to estimate the health effects, we rely on  
17 existing epidemiologist literature about those response  
18 relationship between PM 2.5 and the premature death. And to  
19 do that, we need to translate the NOx level into PM 2.5. So  
20 here is how we did it. So for total PM 2.5 for particulate  
21 matters, they come from two major sources. One is the primary  
22 PM 2.5, meaning those particles directly emitted from  
23 residential appliance ash particles into the air. And we got  
24 those data from California Air Resource Board's Emission  
25 Inventory. And they can also be formed in the atmosphere

1 through chemical reactions. We call them secondary PM 2.5  
2 aerosols. And specifically for this study we're focusing on  
3 nitrate PM 2.5. Those are the particles that form in the air  
4 following the NOx emission. So we put those two together. We  
5 estimate in the scenario, if we retrofit all the gas  
6 appliances in California and then using clean electricity how  
7 much PM 2.5 reduction we would expect to see throughout the  
8 state. Right. So here is our estimates. And if you click on  
9 here, it will show you the map. Again, break down by the  
10 county, at a county level.

11           So, overall, we're seeing the reduction for PM 2.5  
12 to result in 354 fewer deaths, premature deaths, in the whole  
13 state, about close to 600 fewer cases of acute bronchitis, and  
14 close to 300 fewer cases of chronic bronchitis. So when we  
15 add all of those numbers together, we use EPA's map to convert  
16 it into dollars, and that is equivalent to about 3.5 billion  
17 in monetary health benefits per year in California. And this  
18 is using data in 2018, the latest data that we can have access  
19 to.

20           Again, if you click on this, you would see  
21 individual county level and in those populated counties you  
22 really have a high benefit. That's not surprising to see  
23 that.

24           So just to put everything into summary, in this  
25 study we're focusing on residential gas appliance. We found



1 they emit a wide range of pollutants, CO and NO2, NOx, PM 2.5.  
2 All of those can adversely affect human health. And those  
3 health effects are both short-term and long-term. They're  
4 including not just respiratory illness but also cardiovascular  
5 disease and even premature death. And use of those gas  
6 appliance, they can result in hazardous levels of indoor air  
7 pollution. This is particularly problematic for NO2 in  
8 kitchen when cooking activity is going on, you know, if  
9 cooking long enough and doesn't have a good ventilation.  
10 Outdoors this could actually exceed the ambient levels.

11           And we also found there's less than 35 percent of  
12 California residents actually use the range hood during  
13 cooking, and that, to us, is a missed opportunity. This  
14 actually should be encouraged, advocated, and can -- you can  
15 really reduce -- significantly reduce exposure to indoor  
16 pollution when people are cooking.

17           And the gas water heater, water heating devices, and  
18 home heating devices like furnace, they're the most  
19 responsible for the (indiscernible) and we estimate there is a  
20 total of about 16,000 tons of NOx and 12,000 tons of CO that  
21 are emitted from all the gas appliances in California in 2018.  
22 And again, the map will allow you to get into more county-  
23 specific data if you're interested.

24           And if we retrofit all of those gas appliance,  
25 replace them by electric ones, and make sure electricity is

1 from clean energy, then that can bring substantial PM 2.5  
2 reduction. And that PM 2.5 reduction will translate into  
3 fewer (indiscernible) and fewer cases of acute and chronic  
4 bronchitis each year in California. And that brings  
5 substantial monetary benefits; 3.5 billion is our estimate.

6           And again, I just want to emphasize through our  
7 research we realize disadvantaged communities are really  
8 important and should be the focus for any future study moving  
9 forward. Those communities, they disproportionately  
10 experience poor housing conditions and they are already  
11 bearing disproportionate burdens from air and other water  
12 pollution. And those old and unmaintained gas appliance and  
13 smaller and overcrowded space act together just put additional  
14 stress and risks to those people living in those disadvantaged  
15 communities.

16           So here is the references that is used in this story  
17 map. Again, if you're interested in the whole report, you can  
18 click on this link and then you can click here where the whole  
19 report is readily available to download if you are interested  
20 in learning more details of our study. So thank you for the  
21 opportunity to present our work. I'm happy to take any  
22 comments and questions from the audience.

23           MR. STRAIT: Thank you. I think, first and  
24 foremost, can you copy the link to that story map into the  
25 chat box so that the --

1 MS. ZHU: That's a great idea. That's a great idea.  
2 Let me see.

3 MR. STRAIT: And, for now, I'm going to open this up  
4 for questions from the other panelists. We'll go to questions  
5 that we see from the audience at the end of this session.  
6 That way, we get both of our session presentations done and  
7 then address any technical questions.

8 So, Brett, I believe you're up with the next  
9 presentation. Are you ready to go?

10 MR. SINGER: Yes, I am. I hope I am. Let me see if  
11 I can -- I need to share a screen, correct?

12 MR. STRAIT: In a moment. Before we do that, I just  
13 want to make sure you're teed up. Do any of the panelists  
14 have any questions for --

15 I'm sorry, do you prefer just being referred to as  
16 Ms. Zhu or Yifang or --

17 MS. ZHU: Whatever works for you. Let me put it --  
18 yeah, because it won't allow me to copy/paste here. But I  
19 will -- yeah, I think --

20 COMMISSIONER McALLISTER: I'll call you Professor  
21 Zhu; how about that? And thank you very much for being with  
22 us. And I want to make sure we can take full advantage of  
23 your time because I understand you're only here until 11; is  
24 that correct?

25 MS. ZHU: Yes. I have a UCLA -- there's an

1 orientation going on today.

2 COMMISSIONER McALLISTER: Yeah, well, that's a good  
3 sign that there are at least some students. Yeah, are there  
4 some students physically there? I hope so, anyway. Tough  
5 time to be a college student.

6 So I'm going to propose that Brett Singer just go  
7 ahead, and then we'll hope to have a little bit of interaction  
8 between the two of you and amongst any other panelists who  
9 want to chime in before the 11:00 hour, just to make best use  
10 of your time.

11 MR. SINGER: I'm also -- I'm good for -- I don't  
12 have -- my constraints aren't as tight, so if there are  
13 questions you want to make sure you get in to Professor Zhu, I  
14 can certainly wait. It's as you prefer.

15 COMMISSIONER McALLISTER: Why don't you go ahead? I  
16 think we have some time, and it would be good to kind of have  
17 that full context in order to have questions for both of you,  
18 because I think that could be helpful.

19 So anyways, sorry, Peter. Back to you. I just  
20 wanted to jump in there quickly and propose --

21 MR. STRAIT: Oh, no. Brett, by all means, go ahead.

22 MR. SINGER: There's the screen. Okay. And then  
23 let's see if I can get the -- sorry about that. I'm in the  
24 wrong spot. I'm seeing the presentation in reverse. It's  
25 like watching a movie backwards. Okay. Okay, can everybody

1 see the presentation?

2 MR. STRAIT: I think we're good.

3 MR. SINGER: And my sound is okay? I'm just doing  
4 it off the computer. My mic sounds like it's fine, right?

5 MR. STRAIT: You are loud and clear for me.

6 MR. SINGER: Perfect, okay. So I just want to dive  
7 in, and I want to acknowledge -- Susan already acknowledged  
8 the funding program, the Building America Program, the DOE.  
9 Some of the work units here was also co-funded by some grants  
10 (indiscernible) from U.S. EPA, and the Department of Housing  
11 and Urban Development. As she had mentioned that this data  
12 comes -- what I'm going to show you today came from a number  
13 of studies supported by the CEC. They're there. There will  
14 be a record of this. The most recent was a study we just  
15 completed back in March. At least nominally, we're still  
16 writing papers to report that effective kitchen ventilation  
17 for healthy ZNE homes with natural gas is PIR-16-012. We had  
18 a partner for that, was the Association for Energy  
19 Affordability. I want to really acknowledge my colleagues.  
20 That's me on the left, then Dr. Rengie Chan (ph.), Dr. Woody  
21 Delt (ph.), Doughar Ranji (ph.), and Dr. Iain Walker  
22 (indiscernible).

23 We'll start with the summary points. Some of these  
24 have been made already. Gas burners and cooking, each  
25 generate pollutants that can degrade indoor air quality.

1 Using gas burners without venting can cause the indoor one-  
2 hour nitrogen dioxide concentration to exceed the thresholds  
3 for outdoor standards. And Professor Zhu gave a very nice  
4 description of how we use the outdoor standards as reference  
5 points even though they don't directly apply indoors. Cooking  
6 without venting can cause 24-hour PM 2.5 to exceed ambient  
7 standards and guidelines.

8           Pollutant levels increase with cooking, and they're  
9 going to be higher in smaller homes. And that's sort of an  
10 obvious point, I think, but it's worth mentioning. And  
11 Professor Zhu alluded to this as well. So people living in  
12 smaller homes are sort of disproportionately affected. And,  
13 as we know, that generally means disadvantaged communities.

14           Venting range hoods can effectively control cooking  
15 foods. Over-the-range microwaves actually perform generally  
16 similarly to common range hoods. Maybe not quite as well but  
17 the over-the-range microwaves actually can work.

18           Capture efficiency -- and I'll describe what that is  
19 in more detail -- but basically it's how much of the air  
20 pollutants that are generated at the cooking surface get -- or  
21 a cooking appliance get captured and removed by a venting  
22 range hood. That varies by airflow, and it also varies  
23 between using the front and back burners, and that's an  
24 important point.

25           Venting at the 100 CFM that's currently required by

1 Title 24 appears to be inadequate for range hoods to control  
2 indoor air quality. Use of hoods with capture efficiencies up  
3 to 65 or possibly even 75 percent are needed to protect indoor  
4 air quality in all new homes and particularly in those less  
5 than 1,000 square feet, and it's even more acute for homes  
6 that are less than 750 square feet.

7           Range hoods are not used routinely and they're  
8 actually also used much less than people claim. And Professor  
9 Zhu mentioned this. And the news is just going to get worse  
10 because even what they say they do, they actually do less than  
11 that. And I'll show data from that.

12           So cooking on burners are important sources. Again,  
13 Professor Zhu noted this. If all goes well, they produce  
14 carbon dioxide and water vapor. The water vapor can itself be  
15 a problem. But gas burners also -- when everything is working  
16 well, they're going to produce nitrogen oxides including NO,  
17 NO<sub>2</sub>, and HONO, and they will also produce some formaldehyde.  
18 Almost always they're producing a lot of ultrafine particles.  
19 Electric coils and even toasters, they also produce ultrafine  
20 particles. But, importantly, the cooking also produces  
21 pollutants, so it's not just the burner. It's the cooking  
22 also.

23           One quick note: Induction burners appear to emit  
24 many fewer ultrafine particles and no NO<sub>x</sub>. So within  
25 electric -- we group electric together, but there's actually

1 probably a pretty big distinction between induction and  
2 resistance electric.

3           We did a study to try to figure this out. This is  
4 similar to the work that Professor Zhu described that they  
5 did. This predated that by a few years. It was a paper from  
6 2014. And the first work was actually done a few years before  
7 that. And basically what we did is it's a physics-based  
8 simulation. What we did is we modeled what happened in 6600  
9 homes in southern California for which we had data from the  
10 2003 Residential Appliance Saturation Surveys. These were,  
11 like, real homes with real people who reported how much they  
12 cooked. So we actually had data from those particular homes,  
13 we had the size of the home, we had the year that the home was  
14 built so we could estimate air exchange rate based on  
15 infiltration. We had to figure out the cooking durations  
16 every time they did cook. We did some web-based surveys to  
17 get numbers for cooking durations. We used measurements of  
18 emissions from ten ranges, used ranges. We looked at a winter  
19 week. We included NO<sub>2</sub> from outdoors. CO is pretty low  
20 outdoors, so that really didn't contribute much. And then we  
21 compared the Ambient Air Quality Standards much the same way  
22 they had prior.

23           The results are over there on the right. We  
24 calculated a really alarming fraction of homes would  
25 routinely -- these are homes that did cook -- say they cooked



1 with gas. So this does not include homes that had gas but  
2 never use it. But of the homes that have gas burners and said  
3 that they used them regularly, we estimated that as many as  
4 more than half would routinely have NO<sub>2</sub> exceed this 100 PPB  
5 one-hour standard.

6           That's models, right? So then the question is:  
7 Okay, models are fine; but what about measurements? Can you  
8 verify that with measurements from homes? And, in fact, we  
9 did. So what you're looking at here is results from another  
10 CEC study. We sent sampling packages out to 350 homes. Most  
11 of those had gas but there was a fraction that had electric as  
12 a control. And what you're looking at is the one-week  
13 integrated nitrogen dioxide, only the indoor source. So we  
14 factored out the amount that was coming from outdoors, so we  
15 measured outdoors. That's estimated, but it's a pretty robust  
16 estimate. And what you see is the amount of NO<sub>2</sub> over the  
17 course of the week in the bedroom. So this isn't the kitchen;  
18 this is the bedroom. And you see that when you have electric  
19 cooking and you cook more, you don't get any more NO<sub>2</sub>. You  
20 get small amounts. And that could be just an artifact of the  
21 calculation but basically no increase with electric cooking.  
22 But as you cook more with gas, you get more NO<sub>2</sub>. So this is,  
23 like, rock-solid evidence that it is the gas cooking that's  
24 leading to substantial NO<sub>2</sub>. And these numbers are certainly  
25 consistent with what we got from the model. They're actually

1 significantly higher than what we got from the model in terms  
2 of one-week concentrations, in part because we selected homes  
3 that were smaller on average, so these were homes that were  
4 100 to 130 meters squared. You can roughly multiply by 10 to  
5 get to square feet.

6           And then the kitchens -- the concentrations -- we  
7 also mentioned concentrations in the kitchen. Those were  
8 about 50 percent higher, okay? And that's also consistent  
9 with the modeling that Professor Zhu showed and some other  
10 modeling we did. So if it's higher because that's the source.  
11 It does mix throughout the house.

12           There's another set of measurements we did because  
13 that was time integrated. But we said, okay, what about the  
14 short term? Can we confirm the short term? So we went to  
15 nine homes. They were not random. It was a sample of  
16 convenience. But there was nothing special about these homes.  
17 And I'm showing you an example here. On the right-hand side  
18 you see concentrations of nitrogen dioxide on the top panel  
19 and carbon dioxide on the bottom panel. And then in the red  
20 is where we measured in the kitchen. The blue is in a bedroom  
21 on a second floor in this house. And then the black down  
22 below is in the living room. And what you see is, again, in  
23 this case, the concentration in the kitchen went way higher  
24 than in the bedroom.

25           And that, in part, is because of the ventilation.

1 This is a house that had an ERV, a whole house ERV, and the  
2 two floors were actually relatively well separated with the  
3 ventilation system because each floor was ventilated. So  
4 there was supply air and exhaust air from each floor, so there  
5 was less mixing in this house than some others. But the point  
6 there's half an air change per hour is actually more  
7 ventilation than is required in new homes in California, so  
8 this is a well-ventilated house. And even in this well-  
9 ventilated house where you didn't use a range hood, when we  
10 did the simulated cooking, you got above 100 PPB over more  
11 than an hour several times. Of those nine homes, four of them  
12 actually had NO<sub>2</sub> above 100 PPB over that one hour through this  
13 kind of moderate, like, simulated dinner's worth of cooking.  
14 And then several others were between 50 and 100. So with a  
15 little more cooking they were even over 100 too. So this kind  
16 of verifies that this is something that's not unusual. In  
17 fact, it's just the opposite. It seems like it's very easy to  
18 find this when you go out and take measurements in homes.

19           So getting to the capture efficiency, the range hood  
20 as a solution, as I think Peter mentioned in his talk, we do  
21 in California, thankfully, require venting range hoods.  
22 They're not required everywhere. Those venting range hoods  
23 work by pulling air up from the cooking surface and exhausting  
24 it directly outside. That's what we mean by venting. Capture  
25 efficiency is the fraction of what's emitted down at the cook

1 top off on the left there. It gets pulled up directly and  
2 removed to the outside as opposed to mixing in the house.  
3 Obviously, higher capture efficiency is better.

4           And we've done lots of work both in the field and in  
5 the laboratory. That's my colleague, Dr. Woody Delt. In this  
6 case, he was doing some stuff with cooking. We very often  
7 simply it and just boil pots of water for the range hood  
8 testing we've done. I think it was Peter or -- I think Peter  
9 mentioned there is an official ASTM test method, a certified  
10 test method -- HVI has picked this up -- that my colleague,  
11 Iain Walker, Dr. Iain Walker, shepherded through. The work  
12 that I'm presenting here for capture efficiency is not  
13 measurements made with that ASTM test method. It's made with  
14 a quicker dynamic method that we can do. The standard test  
15 method takes -- you know, it can take an hour per test or  
16 something -- or longer. Ours takes ten minutes per test, so  
17 it's more suitable for research in both the field and the lab.

18           So what you're looking at here is just some data.  
19 It's a very busy plot. We tested in the laboratory seven  
20 hoods from a low-cost, you know, \$40 hood up to a high-  
21 performance hood that cost, at the time, \$650. You know,  
22 prices vary, but there were a couple Energy Star hoods there.  
23 If you look off to the right, the results you're seeing are  
24 capture efficiency. On the top is when we did backburners.  
25 We put two pots of water on the backburners, and on the front

1 we put -- the bottom is the front burners. And you see the  
2 cubic feet per minute along the top and the liters per second  
3 along the bottom. And there's two vertical lines drawn. 100  
4 CFM is the current standard for Title 24 requirement and also  
5 the ASHRAE. There's also a recommended value that HVI has for  
6 a 30-inch-wide range which is 250 CFM. And maybe not  
7 surprisingly, you see that at 250 CFM -- let's start up there  
8 on the right. If you're cooking on your backburners, you  
9 actually have very, very high capture efficiency.  
10 Unfortunately, if you move to the front burners, you see that  
11 high-performance hood did very well. That's the blue upside  
12 down triangles on the top. But a lot of the other hoods we  
13 tested, even at 250 CFM, only did, you know, 50, 60 -- 68  
14 percent or something at 250 CFM. And then you get out to 100  
15 CFM, and on the backburners it's pretty good. It's maybe 60  
16 percent. But on the front burners it's down around the 30  
17 percent capture efficiency, so that's not very good.

18           And we have some data from surveys suggesting -- and  
19 I think our experience is that most people preferentially cook  
20 on the front burners. It's just easier, right? You put the  
21 pot right on the front burner. People who I have been  
22 badgering for years -- I think I have a small collection of  
23 people who cook preferential on the backburners now, but  
24 that's not a representative sample.

25           In that project I just mentioned, we had this

1 question about whether over-the-range microwaves. When we  
2 started our study, at the time, there were no microwaves that  
3 had HVI certification for airflow, so actually they weren't  
4 even allowed, technically, under the Title 24 standards.  
5 Since then, many of them have been measured by HVI to verify  
6 their airflow.

7           Off on the right is an important point. You see two  
8 different airflow configurations on the top right. Microwaves  
9 are actually shipped to re-circulate. So they pull air up  
10 through the bottom and then they spin it out through the  
11 grills at the top there in the front or sometimes just over  
12 the door, re-circulating it back to the room. But they could  
13 be reconfigured to have air come in both from the bottom and  
14 the top front and then go up and out either through the back  
15 or the top part in the back to go out so they can be  
16 configured to a venting condition.

17           What this shows here is the capture efficiency as a  
18 function of airflow for the six over-the-range microwaves that  
19 we tested. That's the red and the blue symbols and then the  
20 green also. And then we tested two range hoods kind of at the  
21 same time, same methods, et cetera. You see similar trends,  
22 right? So capture efficiency goes up with airflow. Again,  
23 you see much higher capture efficiency in the back compared to  
24 the front. And then it looks like for these two ranges they  
25 were slightly better than the over-the-range microwaves.

1 Maybe on the order of 5 to 10 percent from the back and maybe  
2 10-plus percent on the front.

3           In that simulation analysis that we did, we also  
4 said, okay, what happens if people use their range hoods? At  
5 the time, we took a capture efficiency at 55 percent and that  
6 was based on work we did on the field. Again, that's probably  
7 too high for what people commonly did because people commonly  
8 used their front burners. But if we assume 55 percent capture  
9 and assume that everybody had a venting range hood and used it  
10 every time they cooked, okay, off on the right there you see  
11 we go from 55 to 70 percent of the homes exceeding the NO2  
12 standard to 18 to 30 percent. Now, that's still terrible, but  
13 it's much better. So range hoods actually can make a big  
14 difference.

15           I'm going to skip this, but this was just showing in  
16 those nine homes several of them had venting range hoods, and  
17 when we used the venting range hoods, we were able to  
18 calculate the percent deduction. And house 1 had a really  
19 good range hood, so that reduced the concentrations by  
20 something like 80 to 95 percent. Some of the other ones, 6,  
21 8, and 9, you see that it was anywhere from, you know, less  
22 than 5 percent up to a maximum of about 50 percent. There was  
23 one oddball point there. But the effectiveness of these range  
24 hoods really does vary a lot in practice. And that's why  
25 Peter mentioned earlier that the capture efficiency, we want

1 to actually have a certified capture efficiency rating.

2           There's some data showing that in homes when people  
3 use the range hoods -- so this was that same random 50-home  
4 study -- and what you see, if you look along the bottom there,  
5 we asked the people, you know, how often do you use the range  
6 hood when you cook, either most of the time, half the time,  
7 infrequently, or never? And then what you see is that when  
8 compared to never, people who said that they use their range  
9 hood at all, even infrequently, had lower concentrations of  
10 NO<sub>x</sub> and NO<sub>2</sub> in their homes. So this is a good data segment  
11 that shows that when people are using them, at least they're  
12 saying they're using them, they are reducing their  
13 concentrations.

14           We did some simulations to try to figure out what  
15 capture efficiency is needed because we know that the 30  
16 percent or whatever you're getting at 100 CFM is not good  
17 enough. So the same kind of simulation modeling. We account  
18 for emissions, we look at ventilation, and we're looking at  
19 new homes, we're looking at code-required ventilation, and  
20 then looking at different capture efficiencies to account for  
21 removal. We also account for deposition of NO<sub>2</sub>, et cetera.  
22 And we're doing this for NO<sub>2</sub> and PM 2.5. Similar details  
23 here. We're looking both at the emissions from the gas  
24 burner, from the cooking, and then also from outdoors. And  
25 the idea here is, as I mentioned earlier, there are emissions



1 not just from the gas burners but also from cooking, so that  
2 range hood is not just for the gas burner; it's for all the  
3 cooking. So even if you have electric burners, you still need  
4 the range hood to deal with PM 2.5 and other things emitted by  
5 the cooking.

6           So our framework is that we're trying to achieve a  
7 situation where every or almost every new California home has  
8 ventilation equipment that, if used appropriately, enables the  
9 occupants to cook routinely without being exposed to hazardous  
10 air pollutant levels inside. I think everyone -- I hope  
11 everyone would agree that that's a good objective.

12           We looked at NO2 and PM 2.5. For PM 2.5, we used  
13 the target of 24-hour World Health Organization guideline of  
14 25 micrograms per meter cubed. We also looked at the federal  
15 24-hour standard of 35. But obviously if you achieve 25, you  
16 make 35 also. And we accounted for outdoor contributions  
17 using outdoor monitoring data in California.

18           And then we took data -- again, this is a standard  
19 for new construction. So we looked at what fraction is  
20 single-family detached, attached, multifamily. We looked at  
21 the different sizes of the units. We accounted for the  
22 different ventilation that's required. For NO2, we were  
23 interested in the short-term, so we kind of worked out a  
24 reasonable meal for four that involved cooking pasta with some  
25 meat sauce and garlic bread, some broccoli, a nice healthy

1 meal. Got to have the broccoli in there. And then we're able  
2 to, you know, calculate the distribution.

3           This is a distribution of burner minutes based on --  
4 I'm sorry, what we're showing here is that the cooking we used  
5 here is actually, you know, relatively consistent with what we  
6 did previously in the previous study.

7           For PM 2.5, we treated it just the total amount of  
8 particulate matter that was emitted by the meal. We went into  
9 the literature and we had a pretty heavy-duty PM 2.5 day. So  
10 there were three meals that all produced PM 2.5. Maybe this  
11 is not what you want to cook every day, but we said you should  
12 be able to cook it on any given day. So wake up, have some  
13 bacon, eggs, and hash browns, stir fry chicken and vegetables,  
14 and a pasta bolognese for dinner. We didn't really do wine  
15 pairings but we can talk about that later. But the point is  
16 that these are relatively high but they're not crazy particle  
17 levels emitted from cooking.

18           And then we took outdoor PM 2.5, outdoor O<sub>2</sub>. There  
19 were some other parameters. The PM 2.5 similarly gets  
20 intercepted when it's coming inside. Same thing. And then  
21 some of it deposits inside. Same thing with NO<sub>2</sub>.

22           So what we're looking at here, this is a relatively  
23 complicated plot -- I'm sorry, a table. We're looking at the  
24 percent of homes that exceed the 1-hour NO<sub>2</sub> standard with  
25 cooking that pasta meal and for homes of different sizes.

1 Okay? And along the top we broke it down into four groups.  
2 Larger than 1500 square feet -- now, obviously, cooking the  
3 same meal in a really big house is not going to have the same  
4 impact as cooking it in a smaller apartment. So you see that  
5 when there's no capture efficiency, okay? Actually a lot of  
6 the larger homes don't necessarily see that 100 PPB standard.

7           Let me say one other thing about that 100 PPB  
8 standard. And I should have said it earlier. The threshold  
9 or the concentration is for the outdoor standard. When you're  
10 using outdoor Ambient Air Quality Standards, those things are  
11 designed to be only as protective as they absolutely need to  
12 be for the general population and sensitive subpopulations but  
13 not the most sensitive individuals. But because they're a  
14 regulatory requirement, they're not set at a level with any  
15 margin of safety. They are set only as low as they absolutely  
16 have to be, and there's a lot of other considerations in terms  
17 of what's achievable, et cetera, because they're regulatory.  
18 So this is not like a safe level. When you are at 100 PPB or  
19 99 PPB, some people are still being harmed, okay, as compared  
20 to if you look at, like, OEHHA has the referenced exposure  
21 levels or that World Health Organization guideline level. The  
22 guideline or the referenced exposure levels are set at safe  
23 levels, so there's a factor of safety there. So below that  
24 level, if you're below the OEHHA level, then you should be  
25 okay even for sensitive individuals. That's what they're

1 designed for. So we really don't want to receive this 100  
2 PPB. So if you look, you see that for 1,000 to 1500 square  
3 foot homes, if we get to a 55 percent capture efficiency and  
4 it's used all the time, then we're below 1 percent of the  
5 homes would have a problem.

6 And, by the way, the framework is -- we're looking  
7 at people in each home cooking. So we understand that not  
8 everybody cooks all the time but everybody should be able to  
9 cook. If you go to a 750 to 1,000 square foot home, you need  
10 to get to a 65 percent capture efficiency to get below this 1  
11 percent threshold. And if you go to a home that's less than  
12 750 square feet, you need to get all the way up to 75 percent  
13 capture efficiency.

14 Now, for PM 2.5 to get below that 25 micrograms per  
15 meter cubed, you don't need as stringent of a capture  
16 efficiency, and partly that's because the homes are  
17 mechanically ventilated 24/7. If someone turns their  
18 ventilation off, then this equation changes. But assuming  
19 that their code required ventilation is operating, if you get  
20 to a 60 percent capture efficiency, you're fine for the 750 to  
21 1,000 square foot. In fact, you can even go to 55 percent and  
22 you're fine. But to get to that 750 square foot apartment or  
23 small house, you need to get to 65 percent capture efficiency,  
24 and you'll probably know that these are not as stringent as  
25 for the NOx controls. So for homes that don't have gas, you

1 don't need as good of a range hood.

2 I'm going to skip over that slide.

3 We mentioned how many actually use range hoods.

4 This was a survey we did in southern California, and credit to  
5 SoCal Gas for helping with this. And what you're looking at  
6 is the blue bars are people who say that they use their range  
7 hood always, red is most of the time, and green is sometimes.  
8 And then we broke it up to homes that have range hoods that  
9 exhaust to outside versus blowing air back into the kitchen.  
10 Remember, it wasn't required to have the venting range hood  
11 until 2008, January 1st, 2008, and then actually there was the  
12 housing places there, so really it was much later, 2010, '11,  
13 where homes started being built where all of the homes had  
14 them. So we see more people say they use them in homes with  
15 venting. Interestingly, if you ask why don't you use your  
16 range hood --

17 MR. STRAIT: Brett, I'm sorry. I'm going to cut in  
18 here really quick. I know we're closing in on 11:00, and I do  
19 want to provide enough time so that Professor Zhu can address  
20 any questions that we have there. So the survey results are  
21 interesting, but can we either pause or wrap this up fairly  
22 quickly so that we can allow some times for questions?

23 MR. SINGER: I'm going to stop right there. Let me  
24 just say that what we found is that people even use them less  
25 than what they say. So they probably use them about half as

1 much as what they say they use them. And then I'll stop.

2 MR. STRAIT: Okay. So very quickly, then, Professor  
3 Zhu, do you have any questions for Brett Singer based on the  
4 presentation that Brett just put together?

5 MS. ZHU: I find it very interesting. Thank you,  
6 Brett, for sharing. I'm actually very interested in the  
7 survey data. And (indiscernible) I'm glad there's a recent  
8 paper published. It can definitely help to better refine our  
9 analysis. Thank you very much for sharing your insight on the  
10 range hood. I think we should really -- that is an  
11 opportunity that there's lots of things that we can do to  
12 protect -- reduce indoor exposures.

13 MR. STRAIT: All right, Brett --

14 MS. ZHU: And I saw some questions in the chat. I  
15 already tried to answer some of those by typing in answers.  
16 If any other questions, I'd be happy to answer.

17 MR. STRAIT: Let's go to Brett, and then we have one  
18 person that has their hand raised that might not be able to  
19 access the chat, and then we can do some of the typed  
20 questions. If we run out of time for the questions that were  
21 entered into the question and answer box or ones that have  
22 shown up in the chat, I can email them to you and we can  
23 figure out a way to then post any answers or replies you want  
24 to give to our docket.

25 MS. ZHU: Sure. Happy to do that.

1 MR. BOZORGCHAMI: So, Peter, I'm going to unmute  
2 Ms. Debra Kaden. She had a few questions in the question and  
3 answer box, so she might -- we might be able to answer a few  
4 of her questions real quick.

5 Would you please state your name and your  
6 affiliation, Debra? Thank you.

7 MR. STRAIT: And, Debra, you will need to unmute  
8 yourself as well. She was unmuted and then she re-muted.  
9 I'll click the 'ask to unmute' button.

10 MS. KADEN: Hi. Did I unmute it this time?

11 MR. STRAIT: Yes. You're good, you're good.

12 MS. KADEN: Thank you very much. Thank you both for  
13 the presentation. I thought they were very informative. I  
14 wanted to ask a general question.

15 MR. BOZORGCHAMI: I apologize, Debra. Can you state  
16 your name and your affiliation? I apologize. We have to do  
17 that --

18 MS. KADEN: Oh, I'm sorry. My name is Debra Kaden.  
19 I'm with Ramboll. And I had some questions about -- that  
20 either of the speakers could answer. There are many important  
21 indoor air pollutants including mold, pests, pet dander,  
22 second-hand smoke, PM 2.5. So the first part of this is: Can  
23 you put some context around the importance of NO2 relative to  
24 these other important pollutants which may differentially  
25 impact lower-income and minority populations?

1           And, secondly, as the UCLA study properly points  
2 out, increasing the frequency of range hood use and improving  
3 the efficacy of ventilation technology would also reduce  
4 exposure and protect public health to all of these pollutants.  
5 Might this strategy be a broader approach to improving indoor  
6 air quality from all sources?

7           MS. ZHU: I guess I can start. Do you guys want me  
8 to start?

9           MR. STRAIT: Sure. Actually, let me preface by  
10 saying, really, we know that these particular pollutants are a  
11 result of using kitchen equipment for cooking, and since it's  
12 raised in that context, that's what we're focused in on for  
13 this particular hearing, but we do recognize that those other  
14 pollutants are why we have the other ventilation standards  
15 that we have. But please go ahead, Professor.

16          MS. ZHU: Yes. That's a really good point. I want  
17 to echo that. And I also want to mention, you know, in the  
18 past, the air quality in-house research field tend to study  
19 those pollutants individually. But nevertheless, in reality,  
20 people are exposed to all of those together. And I think the  
21 field is moving towards to more incorporating (indiscernible)  
22 pollution exposures. There's already lots going around for  
23 Ambient Air Quality to study (indiscernible) and PM as a  
24 mixture. And there will be more studies, I think, coming out  
25 addressing these mixture issues that when people are exposed



1 to more than one pollutants. But I think the comment -- the  
2 focus of today is focusing on NO<sub>x</sub>, and that's why the focus is  
3 on the NO<sub>x</sub> emissions, which, as Brett also mentioned, is still  
4 the most important from indoor gas appliance.

5 MR. SINGER: Yeah. And I'll add, I think it is a  
6 very good point. The health effects mentioned at the outset  
7 are really concentrated in people who have preexisting  
8 respiratory conditions, so asthmatics, COPD, et cetera. And  
9 those conditions are both more prevalent in disadvantaged  
10 communities and they are exacerbated also by outdoor air  
11 pollution. So in communities where people are living with  
12 more outdoor air pollution, these effects of the indoor air,  
13 especially of NO<sub>2</sub>, are going to be more acute and more  
14 problematic.

15 And then you mentioned some other things, allergens,  
16 et cetera. There's a whole confluence of exposure and indoor  
17 air quality issues that come with living in substandard  
18 housing without adequate ventilation, et cetera, that's really  
19 beyond the scope of this. But I think that the key point is  
20 that it is -- the issues we're talking about are going to be  
21 more acutely felt by people who have these other air quality  
22 challenges.

23 MS. ZHU: And I also want to add another angle -- sorry,  
24 the other scope of our one-year literature review project for  
25 Sierra Club that is the climate aspect. Yes, range hood can

1 reduce indoor exposures, but using the gas appliance is not  
2 just emitting those criteria air pollutants, but they're also  
3 a huge (indiscernible) emissions. And that is actually -- I  
4 think if you electrify those indoor gas appliance, they can  
5 help both from the house affect the air pollution side but  
6 also from the climate mitigation side. So I want to make sure  
7 this point is coming through even though our study is out of  
8 the scope of what we put into our report.

9 MS. KADEN: Thank you.

10 COMMISSIONER McALLISTER: Thanks for that question.  
11 I really appreciate all of the beautiful questions coming in  
12 on the Q&A and the chat as well, and, Professor Zhu, your  
13 real-time response to many of those technical questions, so  
14 thank you.

15 I wanted to jump in and just ask -- I guess amplify  
16 a couple of questions that have come in because I had noted  
17 them down as well. I'm wondering about, you know, fixes for  
18 the underutilization of existing range hoods and what your  
19 perspectives are on behavioral approaches and kind of how  
20 education -- you know, if you know there's a problem, does  
21 that make people more likely to use them? And, you know, the  
22 hard fix would be more automating, make sure they come on, you  
23 know, through some -- a little bit more draconian building  
24 code requirement.

25 So I guess I'm wondering, sort of, how you might

1 weigh the different options and their potential effectiveness,  
2 recognizing that here we're talking about new construction for  
3 the most part. And, you know, the existing building stock  
4 also requires solutions here which we haven't really touched  
5 on in this context. But certainly it's a relevant thing going  
6 forward. But the educational piece and how people can change  
7 their behavior to improve their indoor air quality in their  
8 kitchen.

9 MR. BOZORGCHAMI: We have Sean Armstrong also raised  
10 his hand.

11 MR. STRAIT: Actually, before we go to Sean, I do  
12 want to be respectful of people that typed in their  
13 question into the Q&A box.

14 MR. BOZORGCHAMI: Sure, sure, sure. Sorry about  
15 that.

16 MR. STRAIT: And the reason we unmuted Debra is  
17 because she had a question in there. So let's go to those  
18 first while we have the professor's contribution. Important  
19 that we have one person that asked: If asthma is associated  
20 with gas cooking due to nitrous oxides, why isn't nitrous  
21 oxide itself associated with asthma?

22 I'll start by saying my understanding of the science  
23 is that as much as NOx can trigger an asthmatic episode in  
24 someone with the condition, the science is much murkier as to  
25 whether someone would develop asthma due to exposure to

1 nitrous oxide. Is that the case?

2 COMMISSIONER McALLISTER: I wanted to actually get  
3 an answer to my question about the range hood, and then we can  
4 go to the additional questions. And certainly I want to take  
5 advantage of Professor Zhu while she's with us rather than,  
6 you know, more broad answers, so thanks for that.

7 MR. STRAIT: Yeah. My apologies. If we could  
8 address McAllister's question first?

9 MR. SINGER: Professor Zhu, is there anything you  
10 want to note about that or --

11 MS. ZHU: Brett, you want to start first? You can  
12 go ahead.

13 MR. SINGER: Sure. It's an excellent point and I  
14 think it's a question for the commission as to what you see as  
15 your role in terms of providing both equipment and kind of  
16 information and automation. So we know Susan Wilhelm  
17 mentioned earlier that our study found that the new homes we  
18 looked at were built with the code requirement (indiscernible)  
19 ventilation but many people have them turned off. And the  
20 code actually has had a fix already in there. It was not  
21 being widely enough used which is there's supposed to be  
22 some -- a plaque or something informing the resident what that  
23 is and having better information and more clear note directly  
24 on the switch to the ventilation system about what it is and  
25 how to use it could help that. There's a, you know, ongoing

1 question about how automated or how much the occupant should  
2 have that ability to turn it off.

3           For kitchen, there's a development happening of  
4 automated range hoods. Preliminary work on this over many  
5 years has found that people don't like them to come on  
6 automatically but do want to have the control -- and in part  
7 because they're so loud, which is one of the reasons why  
8 people don't use them. But there's this question about do  
9 people have enough understanding that they're supposed to use  
10 them? I think we've shown that -- the biggest reason people  
11 don't use it is that they think it's not needed, okay, by far.

12           COMMISSIONER McALLISTER: Okay, great. Thanks.  
13 Let's see if we can get some more -- some questions  
14 specifically to Professor Zhu before she has to leave. So  
15 thanks.

16           Peter, I'll hand it off to you guys in a minute.

17           MR. STRAIT: Sure. And I'm looking. The other  
18 questions in the Q&A box don't seem to be specific to  
19 Professor Zhu's presentation. But if you've already read some  
20 of those questions, are there any that you would like to  
21 respond to?

22           MS. ZHU: I saw a question asking about the story  
23 map. I think I put it in the chat box early. Maybe people  
24 just have to scroll up a little bit to find the story map.  
25 I'm happy to share it with CEC after this.

1 MR. STRAIT: Certainly.

2 MS. ZHU: By email. And I also want to just build  
3 on what Brett just mention, you know, on the behavior side. I  
4 think education is always important and public health, and  
5 communication is also very important. And when we educate  
6 people, trying to change behaviors, I think what message we  
7 want to communicate is very important. We actually -- my  
8 colleague at UCLA did a study when they are trying to  
9 communicate importance on those issues that we talk about some  
10 of those today. Like, more from the saving energy side. They  
11 found the message, if the message is crafted from, oh, this  
12 will save you money, save energy, it doesn't really trigger  
13 any behavior changes. But if the message is created from it  
14 will protect your health, protect your children's health, and  
15 that message get taken more seriously. So I think there is a  
16 whole -- there's a whole field, a separate field, about how to  
17 communicate the right message, the public health message, to  
18 change behavior. So that's definitely something I think is  
19 very relevant in this context.

20 And I also just want to reflect a little bit more,  
21 like, my experience seeing what -- you know, the multiple  
22 source emissions get reduced over time. So there's three  
23 pillars. The fuel needs to get cleaner, the engine is to get  
24 more efficient, and people need to drive less. You know, I  
25 think we all know which of those three are more of the least

1 effective is people driving less. So changing behavior is  
2 very difficult. I think if there's anything that we can do on  
3 the technology policy side to use engineering controls rather  
4 than rely on people's behavior, that will yield better results  
5 in my opinion.

6 MR. KUMAGAI: This is Kaz Kumagai. Can I jump in?

7 MR. STRAIT: Certainly. You're on the panel.

8 MR. KUMAGAI: I want to share a slide about this.  
9 Can you see the screen?

10 MR. STRAIT: I see a thin white line. There it  
11 goes. Now I see it.

12 MR. KUMAGAI: How is this?

13 MR. STRAIT: It's a slide with some of these sensing  
14 options?

15 MR. KUMAGAI: Yes, yes. So I don't see everything.  
16 Oh, okay. So, actually, I'm from Japan and, you know, it's  
17 always interesting to compare what kind of products are on the  
18 market. So, you know, as you folks requested, I did a couple  
19 of Google search, and I asked a couple of friends that works  
20 in the industry, and I found a couple of automated range hood,  
21 so I'll share them with you. So one is -- one type is like  
22 this one. When you turn on -- when you start cooking, the fan  
23 will automatically operate. The second one, it has a motion  
24 sensor, and when there's someone close to the cooking top,  
25 there's a infrared sensor that will detect the human, and the

1 range will automatically start. And the third one is -- this  
2 one is a humidity sensor. So actually it's monitoring the  
3 humidity level difference caused by cooking. And in addition  
4 to that, this is not a automatic sensor, but there's also  
5 another product that will delay to turn off the switch. So  
6 the technology is already out there. It's a matter of the  
7 U.S. market or the California market will take that into  
8 consideration or not. So that's all from me.

9           MR. STRAIT: Thank you very much. I know we  
10 actually are -- staff are paying attention to some of these  
11 available technologies. And as much as we've seen some  
12 adoption of the commercial space, we see that it's been slow  
13 to enter the residential space, at least in the U.S. And  
14 obviously given that we have some constraints relative to  
15 cost-effectiveness, we're keeping a close eye on what the cost  
16 premium is in the U.S. for products with these types of  
17 controls and interactions. But, no, it's very good to know  
18 that that technology is there and can be very effective in the  
19 space of automating and removing that decision-making  
20 component so that -- to address this issue and ensuring the  
21 equipment gets used.

22           COMMISSIONER McALLISTER: So I want to encourage  
23 everyone -- so it looks like Professor Zhu had to leave, and  
24 so she was really only with us until 11. But I do want to  
25 encourage staff or ask staff to keep track of all the



1 questions that have come in. And to the extent they are for  
2 her and that there are more questions that people want to ask  
3 of her, we can work with her to hopefully get some answers and  
4 bring those into the docket and get those into our formal  
5 process.

6 MR. STRAIT: Certainly.

7 COMMISSIONER McALLISTER: And so thanks for that.  
8 And let's see. Why don't you all keep going through the  
9 questions to the extent that we have a little bit of time and  
10 see if Brett or any of the other panelists want to answer  
11 those.

12 MR. STRAIT: Absolutely. Some of these questions  
13 seem like they're fairly straightforward and just kind of  
14 clarifying some of what was presented.

15 First, the question I asked earlier was actually  
16 answered very nicely by T. Williams in the chat box, who said  
17 that the consensus is that nitrous oxides are an agent for  
18 asthma exacerbation but not a cause of asthma development.  
19 And this is borne out in EPA, World Health Organization, other  
20 consensus-based sources. And that's my understanding of the  
21 science as well.

22 Brett, is that your understanding.

23 MR. SINGER: Yes.

24 MR. STRAIT: So someone asked what value we used for  
25 electricity emissions, if we used a fixed value or a time of

1 use or a statewide average or local. The emissions values  
2 that you used for electric cooking were directly from  
3 measuring a test set-up and running a simulated event; is that  
4 correct?

5 MR. SINGER: I think that refers to the work  
6 Professor Zhu was doing.

7 MR. STRAIT: Oh, okay. I'll have to clarify. If it  
8 is a question for Professor Zhu then we can forward that on.

9 And there's also a question -- this was during Zhu's  
10 presentation about the impacts -- like, where their estimates  
11 of the impacts of PM 2.5 were from or some more technical  
12 detail there, so we can pass those on.

13 Let's see. We have someone asking how to make  
14 ranges quieter at higher airflows. That's going to be a  
15 question, I think, later. And it's more a question for  
16 industry manufacturers. It's not really related to the  
17 technical presentations thus far about emissions.

18 MR. SINGER: By the way, the PM 2.5, was the  
19 question about how we got emission rates for PM 2.5 from  
20 cooking?

21 MR. STRAIT: No, no. The PM 2.5 question is how --  
22 can you explain how the -- if PM 2.5 is generated by the act  
23 of cooking, like, how that impacts estimates of overall  
24 premature death, bronchitis, and other health benefits for PM  
25 2.5 broadly, at least as I understand the question.

1 MS. SINGER: I can answer that, actually, which is  
2 that we make the simplifying assumption that the PM 2.5 from  
3 cooking is equally harmful as PM 2.5 outdoors, so a lot of the  
4 health effects estimates of PM 2.5 are based on epidemiology,  
5 epidemiological investigations. It's looking at outdoor PM  
6 2.5 levels and resulting hospitalizations and medical impacts,  
7 effects documented through the medical system, so heart  
8 attack, strokes, et cetera. So it's a simplifying assumption  
9 that, you know, may or may not be precisely correct.

10 MR. STRAIT: Sure. We have a question whether 100  
11 percent usage of range hoods is assumed for baseline energy  
12 consumption purposes. I can answer that in the affirmative.  
13 Our performance software, when we talk about compliance with  
14 energy standards, assumes that this equipment gets used.  
15 There isn't a penalty for additional usage. We're expecting  
16 people to be able to use it for all of their cooking events.

17 We have someone that's asking about how they can  
18 find out whether their kitchen range hood is a venting range  
19 hood. It strikes me that based on your slide, if the range  
20 hood is blowing air back into the space, then it is probably  
21 on a re-circulating mode rather than a venting mode where it  
22 would only be sucking air and blowing out of the building.  
23 But otherwise, I'm not sure whether we're able to really  
24 provide that answer.

25 Can you speak to how folks can -- is there a common

1 way that these models are set up to be able to go between  
2 venting and re-circulating?

3 MR. SINGER: Yeah. I mean, in order for them to  
4 vent, you need to have the vent connection, so they need the  
5 duct work that connects the range hood to the outside.  
6 Ironically, we did find one case -- in the study we did for  
7 the ARD, we went into a home in Sacramento that was, I think,  
8 renovated in 2008, and there was a microwave there that was  
9 connected to a vent but was configured to re-circulate because  
10 they had not changed the fan configuration.

11 But for the microwaves, you literally need to turn  
12 the fan. And again, they're shifting the motor to re-  
13 circulate, so before they're installed they need to be  
14 reconfigured to --

15 MR. STRAIT: All right. We have someone asking what  
16 capture efficiency would be needed to ensure a safe level of  
17 NOx for a home with a gas stove. I think one of your slides  
18 actually answered that. (Indiscernible) 1 percent rate that  
19 we had to get a capture efficiency depending on the size of  
20 the building somewhere between 55 and 75 percent.

21 MR. SINGER: Yeah. Marian Goebes is going to  
22 address that in her talk coming up as well.

23 MR. STRAIT: Okay. We have someone asking how your  
24 capture efficiency -- how the capture efficiency standard  
25 accounts for differences between use of front and back

1 burners. Like, does it weight them a certain way or is it  
2 like a total capture?

3 MR. SINGER: Right. So the way we did it was  
4 somewhat theoretically saying this is the capture efficiency  
5 you need. That ASTM test developed by my colleague, Emakur  
6 (ph.), actually uses two simulated front burners recognizing  
7 that that's the more challenging condition and that's the way  
8 most people cook. So the capture efficiency would  
9 calculate -- is what you need to achieve. And then the hope  
10 is that HVI will -- the manufacturers will submit their  
11 products to HVI for testing and using, like, the standard  
12 method, and that will reflect front burner use. Obviously,  
13 you know, depending on the details of exactly how people cook  
14 and move around the kitchen, you know, it's going to vary for  
15 each person. But the idea is that the capture efficiency test  
16 is designed to give you front burner capture efficiency that,  
17 you know, should be fairly robust for most cooking.

18 MR. STRAIT: Certainly. We have a couple of other  
19 questions that are directed to Dr. Zhu, so I will dismiss a  
20 few of those from the chat box. And, again, we'll send those  
21 on after the conclusion of this meeting.

22 Let's see. Recent study -- that's not a question.  
23 Okay, that's not a question about the technical content of the  
24 presentation. So this is, again, about how the software  
25 handles energy usage. It's really tangential to the

1 presentations we have here.

2           When determining a target minimum RHCE -- which  
3 range hood capture efficiency, I'm assuming -- was the model  
4 based on a single well-mixed zone for the entire house --  
5 would you consider the worst-case exposure that of persons in  
6 the immediate vicinity of the cooking activity? I think it  
7 was the latter.

8           MR. SINGER: So when we did our modeling, we  
9 considered that house as being well-mixed as kind of more  
10 solid, robust assumption. And then we accounted for an  
11 enhancement of somebody who would be in the kitchen during.  
12 And that enhancement was based on literature values of how  
13 much higher concentrations are in the kitchen. I believe when  
14 UCLA did their simulations, they modeled the kitchen as a  
15 separate volume, but you should, I think, refer that part of  
16 the question to -- and as a result, that much higher  
17 concentration. But that question should be referred to  
18 Professor Zhu.

19           MR. STRAIT: Yeah. No, I'm familiar enough with the  
20 content of the UCLA publication that, yes, they looked  
21 specifically at emissions occurring at the stove and in the  
22 kitchen area, and we're not assuming much, if any, mixing.  
23 But again, the technical details I know for that question  
24 are -- those are actually answered in the report.

25           We have a question about how capture efficiency is

1 affected by other fans in the home. I think the capture  
2 efficiency as basically a test measurement in a test  
3 environment doesn't consider those interactive effects and is  
4 really just looking at the interaction between the range hood  
5 and the stove itself, correct?

6 MR. SINGER: Correct. There could be effects. That  
7 was, I think, asked by Sean Armstrong. And he is correct  
8 that, you know, other exhaust fans interfere with the airflow.  
9 You know, basically, the competing -- for certain location  
10 purposes we're looking just at the effectiveness of the range  
11 hood independent.

12 MR. STRAIT: Certainly. It's worth noting, also, I  
13 know, if at least one other participant was on the line,  
14 they'd be quick to point out that there are other ventilation  
15 strategies that are allowed by ASHRAE, so it is not a strict  
16 requirement that a kitchen range hood be present. Again,  
17 these are requirements if there is range hood being used for  
18 this purpose as opposed to another ventilation strategy; here  
19 are the criteria it has to meet. But this is by far the most  
20 common ventilation strategy for this area, and in a lot of  
21 ways it is the most effective since it is available right  
22 there at the source of the emission.

23 Let's see. We have a question. The CEC mechanical  
24 ventilation report published earlier this year and conducted  
25 by LBNL, which looked at various pollutants in homes with

1 mechanical ventilation had lower pollutant concentrations for  
2 various cooking-related pollutants compared to their earlier  
3 2009 report. NOx was slightly higher. Since the 2020 report  
4 included mostly gas ranges, while the 2009 study was almost  
5 exclusively electric ranges, does this research show that the  
6 gas ranges are not a significant source of indoor pollution in  
7 the home? That's kind of an interesting question the way it's  
8 phrased.

9           MR. SINGER: Yeah. So it is a very interesting  
10 question. That study was single-family, detached homes.  
11 Almost all of them were very large. So it's consistent with  
12 our expectation that -- and, actually, there was cooking in  
13 some homes, so those were -- the gas burners were a relatively  
14 small source in those homes. They did have some impact but --  
15 and then there were some range hood use as well. So it was a  
16 combination of the homes being very large, modest amounts of  
17 cooking, and actually some range hood use to cut maybe some of  
18 the worst situations of cooking or large cooking amounts.

19           If we do see the people use their range hoods  
20 more -- this was a point earlier. People use them less than  
21 they say, but it's not completely irrational. We monitored  
22 cooking in both the single-family homes and an apartment  
23 study, and we do see that when people cook more they use their  
24 range hood -- they're more likely to use their range hood.  
25 And in the homes where people -- cooking that involved



1 particle emissions, they were more likely to use their range  
2 hoods. So there is some rational assessment of risk happening  
3 for people in deciding when to use the range hood.

4 MR. STRAIT: All right. Speaking merely from my own  
5 personal experience, prior to reading a lot of this research,  
6 I know I would use my range -- my ventilation if I was cooking  
7 with more than one burner and if there was some sort of smell  
8 coming on that clued me in that, hey, there's something  
9 happening here or, like, smoke. But that if I was just using  
10 a single front burner and it was frying an egg without a lot  
11 going on, I wouldn't necessarily remember to switch that on.  
12 But that -- now I've learned.

13 MR. SINGER: Yeah. And, frankly, you know, if  
14 you're in a, you know, 2500 square foot house, and you're, you  
15 know, boiling a kettle of water, it's better to use your range  
16 hood, but you're not necessarily going to reach a hazardous  
17 condition under that use case. Whereas, if you're cooking  
18 dinner for four, then it's much more important to do so.

19 MR. STRAIT: Yeah. I'm going to take one more  
20 question before we move on to some of the other panelists.  
21 Because some of these questions I see are fairly general on a  
22 topic and might be best done after all the panelists have had  
23 a chance to present and might be answered by some of the other  
24 panelists' presentations.

25 But one person actually asks as a question to staff,

1 they say: Current field verification protocols require  
2 confirmation of range hood flow rate. However, your research  
3 points out that many kitchen exhaust appliances ship in re-  
4 circulation mode and are installed this way even when there is  
5 a duct to the outdoors, like you just mentioned. Would it be  
6 possible to update the verification protocol to ensure that  
7 kitchen exhaust is installed to exhaust to the exterior and is  
8 not in re-circulation mode. And I can say we can certainly  
9 look at the verification protocol and see if that is an  
10 important step -- or see about adding that as a step in that  
11 process. So, yes, staff feedback like that or considerations  
12 like that are exactly what we're looking for in developing a  
13 potential update to the standards we have on the books, so  
14 that's excellent to point out.

15 MR. SINGER: Peter, if I could just quickly comment  
16 on that too? That study went to 70 single-family, detached  
17 houses. I think something like 38 of them had over-the-range  
18 microwaves that had that configuration issue that we  
19 mentioned, and all of them are configured to vent. That  
20 doesn't mean that it happens in all homes.

21 MR. STRAIT: Oh, sure, sure.

22 MR. SINGER: It just means that it didn't appear to  
23 be common. And then they found that almost all of the range  
24 hoods could also produce -- could move 100 cubic feet per  
25 minute, although not all of them, as installed, did that on

1 the lowest speed. So they couldn't move that amount of flow  
2 at the setting that would meet the sound requirement. So  
3 there may be an issue about whether the hoods are being  
4 installed with adequately sized ducting and (indiscernible)  
5 pressure ducting to allow them to move the amount of air that  
6 they're supposed to move.

7 MR. STRAIT: Certainly. So with that, I'm actually  
8 having a small problem with Microsoft software, so just one  
9 moment. But I'd like to move to our next panelist which -- if  
10 I can pull back up the agenda. Here we go. There we go. So  
11 our next panelist is Marian Goebes with TRC.

12 Marian, would you like to -- are you teed up to  
13 present?

14 MS. GOEBES: I should be. Are you able to hear me  
15 okay?

16 MR. STRAIT: I'm able to hear you, and I can see  
17 that you're sharing your materials.

18 MS. GOEBES: Okay, great, great. All right. And  
19 then I just switched to presenter mode. Are you still able to  
20 see the screen, the slides?

21 MR. STRAIT: Yes.

22 MS. GOEBES: Great, great. Well, thanks so much.  
23 I'll be presenting today the proposed range hood requirements,  
24 what the current proposal is, and the rationale for those for  
25 Title 24-2022.

1           So first off, I want to start off with a big thank  
2 you to all the stakeholders that have provided comments  
3 throughout the process, industry representatives, nonprofit  
4 groups, advocacy groups, researchers. Thank you so much, all,  
5 for your comments. They continue to shape the proposed  
6 requirements.

7           So today we'll start off with an overview of the  
8 current proposed requirements, and then most of the time will  
9 be spent on the whys behind those. So we frame this as  
10 questions that we thought stakeholders might have including  
11 requirements of always use airflow, where is there now this  
12 capture efficiency path, how did you set the capture  
13 efficiency path, and why do they differ -- dwelling and its  
14 size. I think some of that we can go through pretty quickly  
15 based on the previous presentations. Why are requirements  
16 more stringent for hoods over natural gas ranges than  
17 electric? Again, some great background already by Professor  
18 Zhu and Dr. Singer on that, but we'll see more here. And then  
19 how did you set the airflow requirements, how many products  
20 meet the proposed requirements, and are they more expensive?  
21 And then, finally, why didn't we tighten the sound  
22 requirement? And then the last will show the markups in the  
23 Title 24 language for the proposed requirements.

24           So starting with the proposed range requirements.  
25 This should look somewhat familiar compared to previous

1 workshops but also a little bit different. You know, a big  
2 difference is that now we're framing the minimum capture  
3 efficiency and minimum airflow requirements for demand  
4 controlled range hoods based on floor area as opposed to  
5 dwelling unit type. And that's based on the research from  
6 Professor Zhu and Dr. Singer showing that, you know, pollutant  
7 levels are really tied to the size of the units. And then we  
8 also have the last two options that have not been touched at  
9 the bottom of the screen. In addition to -- or instead of  
10 doing a capture efficiency path or a minimum airflow path for  
11 demand controlled range hoods, you could also install a  
12 downdraft exhaust range hood with a minimum of 300 CFM or  
13 continuous exhaust in the kitchen at 5 kitchen air changes per  
14 hour at 50 pascals. And that's only for enclosed kitchens,  
15 and those last two options are directly from ASHRAE 62.2.

16 MR. STRAIT: If I could cut in really quick?

17 MS. GOEBES: Yes, please, please.

18 MR. STRAIT: We're having some folks saying we're  
19 seeing your next slide and your notes and folks are asking if  
20 you are in the right present mode; if this is intended.

21 MS. GOEBES: I see what you're saying. You know  
22 what? I think I'm displaying from my second screen. Let's  
23 see. Does that help?

24 MR. STRAIT: Yes.

25 MS. GOEBES: Okay, great. Thanks for that heads-up.

1           MR. STRAIT: No problem. Thanks to the folks on the  
2 chat that pointed it out.

3           MS. GOEBES: For notifying. Thank you.

4           So just to kind of quickly show you this or walk you  
5 through this table, you can see the most stringent  
6 requirements are for range hoods over natural gas ranges and  
7 small units, so less than 750 square feet. And then the least  
8 stringent requirements are for hoods over electric ranges, at  
9 larger sized units, or over natural gas ranges over 1500  
10 square feet.

11           So the first question is, hey, requirements have  
12 always used airflow; why is there now a capture efficiency  
13 path? So Brett, I think, has already described what the  
14 capture efficiency is but, just recapping, it's the ratio of  
15 captured pollutant to total pollutant released expressed as a  
16 percent. And under the proposed requirements, the  
17 manufacturer would be responsible for having that capture  
18 efficiency tested using that ASTM method. But the main reason  
19 why there's a capture efficiency path is because it is a  
20 direct measurement of pollutant removal.

21           As you'll see in a few slides, and as I think you  
22 saw in Brett's presentation, capture efficiency and airflow  
23 generally increase together, so as you increase the airflow  
24 you generally get a higher capture efficiency from the same  
25 hood. But airflow is really only a proxy for measuring

1 pollutant removal. It's capture efficiency that's the direct  
2 measurement.

3           So for this cycle, the proposal is allowing either  
4 path, capture efficiency or airflow. The main reason why  
5 airflow is still allowed is because most products don't have  
6 capture efficiency levels published at the moment. So either  
7 one is allowed currently, but future cycles -- hopefully by  
8 2025 -- we can just move to capture efficiency since that is  
9 the direct measurement.

10           The next question that you may have is: How did you  
11 set the capture efficiency requirements and why do they differ  
12 based on dwelling unit size? So again, the presentations  
13 early this morning, I think, frame this quite well. In  
14 general, the requirements are based on that LBNL research that  
15 Brett and Ranji had led. So what they had done was to conduct  
16 a physics-based simulation model to calculate air pollutant  
17 concentrations in homes from cooking. And they ran Monte  
18 Carlo simulations which means running the same model various  
19 different times with several variables changed under each  
20 scenario, including home size, housing characteristic, outdoor  
21 conditions, and indoor pollutant dynamics. And then the goal  
22 was to find out, okay, what capture efficiency is needed under  
23 certain conditions so that no more than 1 percent of homes  
24 would exceed unacceptable level of pollutants. And so, again,  
25 they found that smaller homes means less dilution of

1 pollutants resulting in higher concentration, so that's why  
2 the requirements increase with smaller home sizes.

3           So moving in to this table. This should look  
4 familiar because it's what Brett was presenting earlier. A  
5 version of this was published in the report from LBNL released  
6 in March of 2020, although, as you'll see in this first  
7 footnote here at the very bottom, LBNL has conducted  
8 additional modeling since releasing that paper which we used  
9 for this table, and so that's where that 75 percent for hoods  
10 that use natural gas ranges for units that are 750 square feet  
11 or smaller came from. You know, these numbers should look  
12 familiar based on what Brett just presented. So, again, you  
13 can see higher requirements in general to keep NO2 within  
14 acceptable levels and then as units get larger.

15           And then one other note in terms of what did we  
16 identify as acceptable levels. Again, we looked to the LBNL  
17 research there. And as Brett just mentioned, they used EPA  
18 NAAQS standards for PM 2.5 and then the World Health  
19 Organization guidelines for PM 2.5 which are slightly stricter  
20 than the NAAQS standards.

21           So the next question is: Why are requirements more  
22 stringent for hoods over natural gas than electric ranges? So  
23 it's been discussed earlier today PM 2.5 is released from the  
24 general cooking processes, so any cook top, regardless of the  
25 field type, will have PM 2.5 generated during cooking, but



1 natural gas cooking appliances also releases NO<sub>2</sub>. So some  
2 examples of -- you know, the many literature that's been  
3 supporting this includes a study done by Kathleen Belanger in  
4 2013 that found that asthmatic children are at higher risk for  
5 more severe asthma symptoms even at low levels of NO<sub>2</sub> and that  
6 risk rises as NO<sub>2</sub> rises. And then a study done by the EPA in  
7 2008 that found that homes with gas stoves have 50 percent to  
8 400 percent higher concentrations of NO<sub>2</sub> than homes with  
9 electric stoves. So bear in mind, you know, that's fairly old  
10 data. This would not be reflective of new homes built today.  
11 But, in general, this is definitely indicating that we're  
12 getting higher concentrations of NO<sub>2</sub> with gas stoves, and that  
13 does lead to conditions including asthma.

14           And so, again, the LBNL simulations found that a  
15 higher capture efficiency is required to maintain NO<sub>2</sub> within  
16 acceptable levels compared with the PM 2.5 in small homes.

17           And then one other note. I know Professor Zhu was  
18 also mentioning CO being released from NO<sub>2</sub>. But in general,  
19 field studies and also simulations have found that NO<sub>2</sub> much  
20 more frequently exceeds standards than carbon monoxide in  
21 homes with natural gas cooking appliances. Actually, in one  
22 of her slides I saw that, in general, the carbon monoxide --  
23 you know, the simulations were finding that carbon monoxide  
24 was within limits but NO<sub>2</sub> was exceeded, so that backs up that  
25 understanding as well.

1           So the next question is: How did you set the  
2 airflow requirements? So we talked through where we got the  
3 capture efficiency requirements. Again, that is based on the  
4 LBNL research. To get to airflow, we contracted with Texas  
5 A&M University earlier this year to conduct capture efficiency  
6 and airflow testing. And the target was specifically for  
7 product types that would be installed in smaller homes such as  
8 multifamily units. So we focused on testing on microwave  
9 over-the-range hoods, otherwise known as OTRs, and  
10 undercabinet hoods since those are typically installed in  
11 small units. They tested five products. They used that ASTM  
12 method E3087 which is what is included in the proposed  
13 requirements. That does simulate front burner cooking. And  
14 then we used the (indiscernible) results to correlate capture  
15 efficiency with airflow. So you can see the results off to  
16 the right. We tested each product at two airflows. As you  
17 can see, you know, capture efficiency does increase for each  
18 product with airflow, but it's not always the same  
19 relationship which, again, just highlights the point that it's  
20 capture efficiency that is the better metric as opposed to  
21 airflow.

22           And then, you know, in general we're finding -- so  
23 from this graph, then, we were able to translate those capture  
24 efficiency requirements from the LBNL study to what the  
25 equivalent airflow requirement would be. And I'll note that,

1 you know, this is based on a limited number of products. It's  
2 only five products. But LBNL has done some testing using that  
3 different capture efficiency metric that Brett described. And  
4 for their front burner cooking they found that between 200 and  
5 300 CFM are needed to achieve 70 percent capture efficiency.  
6 And that does line up with what we found here. So you can see  
7 with your eye, hopefully, 70 percent capture efficiency is  
8 roughly 270 CFM, so it is within that range that they had  
9 identified as well.

10           So now getting into product availability questions.  
11 How many products meet the proposed requirements? So this is  
12 some analysis we did based on the HVI database. So the table  
13 on the left is showing those microwave range products,  
14 otherwise known as OTRs, and then the table on the right is  
15 showing undercabinet range hoods that would be meeting the  
16 proposed requirements. So we're starting off -- this slide is  
17 showing you according to the CMF, and then the next slide I'll  
18 remind you how this correlates to the proposed requirements in  
19 terms of, you know, size of unit and whether it's electric or  
20 natural gas range.

21           So you can see in general that we've got pretty good  
22 availability of products for microwave range hoods up to 200  
23 CFM over 80 percent. It does start to drop in the mid-200s,  
24 and then by 290 CFM, which is what is required only for small  
25 units with natural gas ranges, you know, we're down to 8

1 percent of products that would be available to meet that for  
2 the microwave range combination OTRs.

3           For undercabinet range hoods, better availability  
4 there, so almost all products provide up to 200 CFM. And we  
5 still have half of the products meeting that requirement at  
6 290 CFM.

7           And I also want to note these are all reflecting  
8 horizontal configurations. As Brett was saying, range hoods  
9 can be configured under either horizontal or vertical. The  
10 percent compliance actually increases for vertical so this is  
11 more of a worst-case scenario.

12           And then one other comment is that chimney hoods,  
13 which are commonly installed in larger units such a single  
14 family homes, all of the tuning hoods we reviewed would meet  
15 at least 290 CFM requirements. So, you know, the pain point  
16 is much more on the type of products are installed in small  
17 units.

18           So then just tying that availability back with the  
19 proposed requirements. Most products, most OTRs and  
20 undercabinet hoods would comply, would be able to be installed  
21 for units that are greater than 750 square feet with electric  
22 ranges or greater than 100 -- excuse me, greater than 1000  
23 square feet with natural gas.

24           Some products, so about a third of the OTRs and two-  
25 thirds of the undercabinets, would comply for small units, so

1 less than 750 square foot units with electric ranges or in  
2 that 750 to 1000 square foot range that have a natural gas  
3 range. And then a few OTRs, you know, about 8 percent, and  
4 about half of undercabinets would comply with those most  
5 stringent requirement which is for the very small units, less  
6 than hundred 750 square feet with natural gas ranges. So, in  
7 general, proposed requirements are achievable, particularly  
8 for units with electric ranges and/or medium to large units.

9           The next question was about, you know, are compliant  
10 products more expensive? So we did some comparisons here and  
11 found that microwave range hoods that are greater than 250 CFM  
12 were more expensive compared to those that were 100 to 250  
13 CFM. On average was about \$140. So a reminder, again, that  
14 is for the smallest unit for electric ranges or less than  
15 1,000 square foot with natural gas ranges. And then  
16 undercabinet hoods that were greater than 290 CFM, those were  
17 more expensive compared to 100 to 290 CFM undercabinet hoods.  
18 They were more expensive by about \$270, on average, although  
19 there's fairly low precision there since, as I described  
20 before, most products do have an airflow greater than 290 CFM.  
21 And then calling out, again, that's the most stringent  
22 requirement. That's only in small units with natural gas  
23 ranges.

24           So overall, you know, a lot of units wouldn't have  
25 to be using more expensive products. But in some cases, you

1 know, they would be moving to a more select products that do  
2 tend to have higher costs, but we do think this is necessary,  
3 based on all the health evidence we've discussed.

4           Last question is: Why didn't you tighten the sound  
5 requirement? I'll just start it by saying that we wanted to.  
6 We understand that surveys have shown that noise is a  
7 deterrent from range hood use. There is an existing sound  
8 requirement in the standard. So, as you all probably know,  
9 Title 24-2019 requires demand controlled range hoods meet a  
10 requirements that's from ASHRAE less than or equal to 3 sones  
11 at 100 CFM.

12           So we looked at a couple different options. The  
13 first was: Can we add a sound requirement at the higher  
14 airflow that would be required? So, for example, could we put  
15 in a new sound requirement at around 250 CFM? We got some  
16 great feedback from manufacturers said, hey, that would  
17 require product retesting, and they are trying to move away  
18 from their current test points. In particular, the current  
19 test points include an unrealistically low static pressure,  
20 and they're trying to increase that static pressure to better  
21 reflect field conditions. So we don't want to require them to  
22 do retesting at these old test points, so we didn't want to  
23 impose a new sound requirement at the old test point, so  
24 that's why we didn't put in something at, say, 250 CFM.

25           More recently, we thought, well, hey, how about we

1 just use the existing test points of 100 CFM, but instead of  
2 allowing 3 sones we tighten it down to 2 sones? That's  
3 actually in the product certification requirements for Energy  
4 Star range hoods. But we did some analysis -- great work here  
5 by my colleague Mia Nakajima who put together this plot on the  
6 right. You can see that for products that tested at 2 sones  
7 or less at 100 CFM -- that's on the left bar -- they didn't  
8 have much of a change in sone at 250 CFM compared to products  
9 on the right bar that were between 2 and 3 sones at 100 CFM.  
10 So for the products on the left that tested at 2 sones or less  
11 at 100 CFM, they had an average sone of about 6 and a half  
12 sones at 250 CFM. And then the products on the right that  
13 were between 2 and 3 sones at 100 CFM, their average was 7  
14 sone at 250 CFM. And you can see a big range in both groups.  
15 So there just wasn't much of a difference there to support  
16 changing the requirement. So we've left it as-is but highly  
17 encourage the future Statewide CASE Teams to look into a new  
18 sound requirement for the next cycle.

19           And last slide here before I get into some  
20 acknowledgements and, you know, would be happy to take  
21 questions is the proposed requirements. So this is a markup.  
22 This is how it would look in under 150.0(o)1Gb, repeated in  
23 120.1(b)2Avi for high-rise multifamily. Of course under  
24 multifamily unification this would hopefully just show up once  
25 in the code.

1           Just some quick legends here. Purple is what's  
2 currently required under Title 24-2019 because of its  
3 reference to ASHRAE 62.2. So if you look in Title 24-2019,  
4 you will not see this language, but you will see a requirement  
5 to meet everything in 62.2, and then when you go to 62.2 you  
6 will see this language. And then the red is the new proposed  
7 requirements.

8           So exhaust systems in non-enclosed kitchens must  
9 meet 1, 2, or 3 below. Exhaust systems in enclosed kitchens  
10 must meet 1, 2, 3, or 4 below. So, again, 4 is that  
11 continuous exhaust option.

12           So, starting with 1, that is the new language that  
13 we're really proposing: A vented range hood with at least one  
14 speed setting with a minimum capture efficiency shown in table  
15 120.1-A, measured in accordance with ASTM Standard E3087 at a  
16 nominal installed airflow described in HVI Publication 920.  
17 So that's the new capture efficiency path.

18           Or a vented range hood with at least one speed  
19 setting with a minimum airflow of -- instead of 100 CFM;  
20 that's the current requirement -- the CFM shown in Table  
21 120.1-A. And then we just called out the -- clarified the  
22 testing condition.

23           Or a vented downdraft kitchen exhaust fan of 300  
24 CFM, or that continuous exhaust at five kitchen air changes  
25 per hour.



1           So with that I want to thank very much my Statewide  
2 CASE Team members, Mia Nakajima, Elizabeth, and Cathy Chappell  
3 at TRC, Dave Springer at Frontier, Kelly Cunningham and Mark  
4 Alatorre at PG&E; contributors including Jim Sweeney and his  
5 team at Texas A&M; many collaborators, in particular Brett  
6 Singer and Rengie Chan. Again, thank the stakeholders for  
7 their comments and their feedback. It's been really helpful.  
8 And of course Energy Commission staff for their collaboration.

9           And that's my information. I think what I'll do is  
10 I'll go back to the proposed requirements and then go to  
11 questions, please. Or, I forget --

12           Sorry, Peter, is it another speaker and then  
13 questions?

14           MR. STRAIT: No. Actually, what I'm planning on  
15 doing, I'm looking at the question and answers that are in.  
16 If they are general questions, I'm going to hold them until  
17 the end of the presentations because they might be answered by  
18 future presenters. If they are specific to the content of a  
19 particular presenter, then I'll go ahead and tee them up. And  
20 I will, at this point, open it up for any of the panelists  
21 that have any questions for you about the material that you  
22 presented, if they'd like to ask their questions in real time.  
23 If anyone is speaking, since I'm not hearing anyone, note that  
24 you might be muted. Not hearing anything at the moment and  
25 not seeing anything. And again, I'm seeing general questions

1 in the chat thus far.

2 I'm going to go ahead and move on to the next  
3 presenter, then, which is the California Resources Board. Are  
4 you prepared to present?

5 MS. SCHEEHLE: Yes, thank you. This is Elizabeth  
6 Scheehle. I'm the chief of the research division at CARB.  
7 And I'll start out and hand it over to Zoe to go through most  
8 of the presentation. I believe she's pulling up the  
9 presentation.

10 So really happy to be here to talk about indoor air  
11 quality and the kitchen ventilation and health effects and our  
12 next steps. Like I said, I'll go over a few high-level slides  
13 on natural gas appliances, including the need for building  
14 electrification, and then hand it over to Zoe for the  
15 remainder of the presentation. So next slide, please?

16 Natural gas appliances are direct sources of air  
17 pollutants and greenhouse gases and, therefore, contribute to  
18 multiple pollution concerns. Based on our emission inventory,  
19 natural gas used in the building sector results in about 82  
20 tons of NO2 per day, about four times the emissions from  
21 electric utilities and close to the emissions from light-duty  
22 vehicles statewide.

23 From a climate change perspective, about 25 percent  
24 of California's greenhouse gas emissions come from residential  
25 and commercial buildings and 10 due to the natural gas use in

1 buildings. The large contribution of emissions from natural  
2 gas appliances to criterion greenhouse gas pollution  
3 demonstrates the need to move forward with building  
4 electrification.

5           And just another couple high points on how that  
6 would improve health benefits. You've heard this a little bit  
7 earlier so I won't spend too much time on it. But it can  
8 obviously provide substantial health benefits with 100 percent  
9 of electrification reducing deaths and acute and chronic  
10 bronchitis, as well as other health benefits that we're not  
11 quantifying here, but there are many of them including  
12 exposure to fine particles as well. And what happens indoors  
13 also impacts outdoors, so many of the appliances can have  
14 outdoor air pollution which we'll get into later, and it is  
15 something to be considered in this analysis, as well, with  
16 venting occurring into the outdoor environment through the  
17 vent hoods.

18           And so with that -- and I just wanted to finish on  
19 mitigation approaches such as kitchen ventilation really help  
20 a lot. They don't solve the problem. As we heard earlier,  
21 there are instances where people don't use them and there's  
22 still a capture efficiency rate that we have to account for,  
23 so addressing the root cause is important, but this is a  
24 really, really important step as well to moving towards  
25 protecting people's health indoors.

1           So, with that, I'll turn it over to Zoe for the  
2 presentation on emissions, ventilation, and research. Thank  
3 you.

4           MS. ZHANG: Thank you, Elizabeth. Hello, everyone.  
5 This is Zoe Zhang. I'm going to go over the remainder of this  
6 presentation.

7           So of all the natural gas appliances used in  
8 buildings, natural gas cook stoves are one of the highest  
9 concerns, especially for indoor air. Numerous studies have  
10 shown cooking is a major source of indoor air pollution.  
11 Pollutants from cooking including criteria air pollutants like  
12 NO<sub>x</sub>, CO, and PM 2.5, air toxins like formaldehyde and PAH, as  
13 well as greenhouse gas like CO<sub>2</sub>. Reducing indoor exposure to  
14 these air pollutants is important given the health effects  
15 associated with acute and chronic exposures to air pollutants  
16 in cooking emissions.

17           Comparing emissions from different heating sources,  
18 studies found higher levels of air pollutants like NO<sub>x</sub>, CO,  
19 and ultrafine particles when cooking with natural gas stoves  
20 versus electric stoves. Many homes with natural gas stoves  
21 exposed routinely to NO<sub>2</sub> levels exceeding federal and state  
22 Ambient Air Quality Standards. Studies also found children in  
23 a home with a gas stove have higher risk of occurrence of  
24 asthmas.

25           To improve air quality during cooking, there are two

1 undividable keys: air pollution from cooking alternatives from  
2 both fuel combustion and food processing. To eliminate air  
3 pollutant from fuel combustion, combustion-free heating  
4 sources need to be in place. That's where building  
5 electrification is called for. However, building  
6 electrification won't solve the other half of the puzzle. Air  
7 pollution is from food processing, moisture, and odors. So  
8 kitchen ventilation is another key to improve air quality  
9 during cooking. However, based on a survey by LBNL, not  
10 everyone use their range hood during cooking. This implies  
11 that kitchen range hood won't be the only solution. Building  
12 electrification and strong kitchen ventilation requirement are  
13 both essential to address the cooking emission issue.

14           Building electrification can't completely eliminate  
15 the combustion air pollutants from gas appliance. Then what  
16 about the effectiveness of kitchen ventilation? I think Brett  
17 has introduced this very thoroughly. So here is an example  
18 for LBNL study which showing a wide range of performance of  
19 kitchen range hood. However, this also deliver a message that  
20 the high efficiency kitchen range hood could reduce air  
21 pollutants level by higher than 95 percent. Therefore,  
22 kitchen range hood could be a very effective method to improve  
23 indoor air quality if it's designed, installed, and used  
24 properly.

25           However, the current requirement in the building

1 code for kitchen range hood, 100 CFM, is not sufficient to  
2 remove cooking emission. So here is another study by LBNL  
3 which you have seen before by Brett's presentation. So higher  
4 standards, higher CFM, or more direct measures like capture  
5 efficiency that is sufficient to protect people against  
6 cooking emission is needed in the building code. Therefore,  
7 CARB recommends to strengthen kitchen range hood performance  
8 requirements in current building code cycle.

9           In summary, natural gas appliances cause great  
10 health impacts. High capture efficiency kitchen range hood is  
11 needed to address these health impacts, but it's not  
12 sufficient. Building electrification is indispensable  
13 component to eliminate these health impacts.

14           Next, I'm going to briefly introduce the additional  
15 projects related to gas appliances in cooking emission by  
16 CARB. Since the release of CARB's Indoor Air Quality  
17 Guidelines in 2005, many agencies and organizations have  
18 strengthened their Outdoor Air Quality Standards or Indoor Air  
19 Quality Guidelines. For example, this slide show CARB's  
20 initial Indoor Air Quality Guidelines for NO2 and the  
21 subsequent standards and guidelines that have been  
22 strengthened by the other agencies and organizations. We will  
23 look into the process of updating our indoor air quality  
24 guidelines based on scientific evidence.

25           We have an ongoing research contract with UC Davis

1 to assess impacts of building air tightness on indoor air  
2 quality, GHG, and energy in mid- or high-rise multifamily  
3 buildings in California. These projects started March this  
4 year and is expected to complete in August 2022. The PI will  
5 measure infiltration of particles in gases between and among  
6 multifamily apartments with data collected in the field. The  
7 PI will compare mixed-fuel, which is gas and electric, and  
8 all-electric buildings for indoor air quality and GHG by  
9 modeling.

10 Another research contract will focus on total  
11 exposures in disadvantaged community. It will be approved in  
12 the upcoming board meeting in October. We expect to kick it  
13 off next spring. The purpose is to identify localized sources  
14 and the personal activities that are linked to elevated air  
15 pollutant exposures in disadvantaged community in California.

16 The PI will conduct indoor, outdoor, and personal  
17 monitoring in four disadvantaged communities, potentially two  
18 in East Bay and two in Fresno and Bakersfield areas. Source  
19 studied will include electric and gas appliances.

20 For these two research project, if anyone is  
21 interested in it and want to keep track on their progress,  
22 please let me know, and I will add you to the distribution  
23 email list for the quarterly progress reports.

24 With that, I want to thank CEC for organizing this  
25 workshop and thank everyone for your participation and any

1 questions. Thank you.

2 MR. STRAIT: Thank you very much. I'm just taking a  
3 moment to answer -- there were some folks that had some  
4 questions about what is a PAH? And so we're typing out some  
5 answers to that. Let me check the questions to see if there  
6 are -- so there is a question relative to your research and  
7 presentation. And the question is: Did you conduct a  
8 literature search and literature study review to identify  
9 literature published since the 2013 LIN study? And they're  
10 mentioning that the data collected in that study was largely  
11 collected before the year 2000. My apologies. Are you muted?

12 MS. ZHANG: Oh, no. Pat or Bonnie, do you have an  
13 answer to that?

14 MR. WONG: Yeah. Can you -- one part I missed about  
15 that. You said literature collected before which study?

16 MS. HOLMES-GEN: This is Bonnie. I think this is  
17 referring to the asthma comments. Is that correct?

18 MR. STRAIT: I'm not 100 percent sure. This is the  
19 account from LDELL. It should be in the Q&A window if you  
20 want to pop that open.

21 MS. HOLMES-GEN: Right. And, I mean, we have  
22 several ongoing research projects on asthma and including  
23 actually collecting data on using GPS-enabled inhalers to  
24 understand more about individuals that are -- you know, when  
25 and where people are having asthma exacerbations and using



1 increased medication. So I know that we are doing -- you  
2 know, we are regularly updating our literature on asthma as we  
3 are preparing for and conducting these studies, and we do have  
4 ongoing research on asthma to better understand impacts and  
5 locations and sources that are causing exacerbations. So I  
6 can get more information about where and when we've done these  
7 literature searches, but I would say, yes, we are  
8 reviewing -- we are constantly reviewing and updating the  
9 literature on asthma.

10 MR. STRAIT: LDELL asks a follow-up question.  
11 They're asking: There was a study by Wong, et al., in 2013,  
12 that included more than 250,000 children in 31 countries that  
13 found no association between gas cooking and asthma. And  
14 they're asking how to reconcile the results of that study with  
15 the conclusions of the LIN study.

16 MS. HOLMES-GEN: Yeah. I mean, you know, we'll get  
17 some responses from some of our staff. I'm sure that there's  
18 always an ability to find studies that have varying results,  
19 but, you know, we have reviewed the study that we just posted  
20 and it was included in our presentation, and we do find that  
21 the study techniques are robust and the findings are valid and  
22 should inform our work and our policy. So we can continue to  
23 provide some additional answers, but we find the study to be  
24 robust.

25 MR. WONG: Yes. And this is Pat. The study we are

1 referencing is a meta analysis of, I believe, 1,000 other  
2 studies together. I forgot the exact numbers. So you're  
3 right, there are some studies that show no effects, and there  
4 are some studies that did not, and normally you need this type  
5 of analysis of a number of studies to be able to come up with  
6 a topic conclusion. So, yeah, I'm not saying there's anything  
7 wrong with Wong 2012 or '13 study but, you know, all studies  
8 are done under different conditions.

9 MR. STRAIT: Sure. I do notice there's just a  
10 general question whether we are going to be saving the Q&A in  
11 the chats after this presentation. We are going to make every  
12 effort to do so. We're still adjusting to using Zoom, and I  
13 believe it does have features to allow us to save these. And  
14 after saving them, unless there is a technical issue, we will  
15 absolutely post all of this to the docket. So I don't see --  
16 I'll mark these as answered.

17 So I'm not seeing any other questions specific to  
18 this presentation. So are there any -- do any of the  
19 panelists want to ask anything of the presenters?

20 All right. Not hearing anything. I'll move on to  
21 our last panelist presentation, Kazukiyo Kumagai, with the  
22 California Department of Public Health.

23 Are you ready to present?

24 MR. KUMAGAI: I believe so. Can you see my screen?

25 MR. STRAIT: I can hear you, but I'm not seeing your

1 screen yet.

2 MR. KUMAGAI: Oh, I'm sorry.

3 MR. STRAIT: Yes, now I can see your screen.

4 MR. KUMAGAI: Okay. So, hello. My name is Kazukiyo  
5 Kumagai, but you can just call me Kaz. I work for the  
6 California Department of Public Health, and I lead the Indoor  
7 Air Quality Program.

8 The assignment that I was given was to answer --  
9 probably to answer this question: Does CDPH have the  
10 authority on any IAQ issues? So I will try to answer that.  
11 And if we do not have the authority, I will share what kind  
12 of -- what are the ways that we can help?

13 And let's see. This is just a regular disclaimer.  
14 So what I say today does not reflect what our department says,  
15 so please keep that in mind.

16 For those of you who don't know who we are,  
17 actually, we are the oldest IAQ program in this country. We  
18 have been established in 1982, and we are mandated to develop  
19 guidelines, coordinate efforts, and conduct research to  
20 improve indoor air quality in the state.

21 But today I will basically share with you about the  
22 outreach that we're doing or the guidelines that we developed  
23 which you can find on our website.

24 So in the beginning, let me jump in to the question  
25 whether we have the authority or not. The answer to this

1 question is, no, we do not have the authority. I don't know  
2 if that's a good thing or not, but at least it gives us some  
3 flexibility.

4           And then probably you may want to know, then, who  
5 has the authority? So basically, when it comes to IAQ in a  
6 lot of issues, it's the local jurisdictions that has the  
7 authority to enforce them. And depending on the jurisdiction,  
8 some counties will have environmental health officers, another  
9 will have public health officers. In some counties it could  
10 be the building inspectors that inspects the buildings or the  
11 residences and assess the building conditions.

12           So next I will share with the ways that we could  
13 sort of help or share the way that we are guiding the public,  
14 helping the public to give some tools so that when there's a  
15 IAQ issue, they have some power to use. So I will talk about  
16 two topics. One is on- chemical emissions from building  
17 materials or materials used in buildings. Another one is on  
18 dampness, mold, and health.

19           So, first, about the chemical emission, from CDPH we  
20 have this -- we developed this standard called 1350. The  
21 official title is called Standard Method for the Testing and  
22 Evaluation of Volatile Organic Chemicals from Indoor Sources  
23 Using Environmental Chamber. The purpose of this standard is,  
24 of course, to minimize the VOC exposures in indoors. And  
25 there's a lot of sources that you can find in indoors, so it's

1 not just building materials but also, like, insulation,  
2 furniture, et cetera, et cetera, et cetera. So we want to  
3 know what kind of chemicals are emitted. And so by  
4 understanding that, we could choose the materials that we want  
5 to install in the building environment.

6           This standard has been widely cited in various  
7 standards. For example, building standards in ASHRAE,  
8 California Green Building Code, IGCC. Also, it's used or  
9 cited in building rating systems such as LEED or Well. Also,  
10 there's a couple of product manufacturers. They use this or  
11 cite this, for example, in productivity standards. There's  
12 another one that the industry is trying to push but have not  
13 come with a consensus to develop a health-based emission  
14 standard. So I would emphasize this is health-based emission  
15 standard, not just emission standard itself. And then, also,  
16 like flooring or carpets industry, they are citing or using  
17 this standard method.

18           So to go deeper into this Standard Method 1350, it  
19 defines how the products are packed, shipped, and documented  
20 before they are tested. And then next phase is -- it mentions  
21 how to prepare the samples. If it's going to be tested in the  
22 chamber, what are the testing conditions in the chamber? And  
23 then the chemical -- the way to analyze and calculate the  
24 chemicals. Once the chemicals are analyzed, it has a unique  
25 table which shows the maximum allowable concentration of

1 specific chemicals. And then, after that, it has the quality  
2 assurance and, at the end, it has a portion that mentions  
3 about how the testing reports should be certified by  
4 certification bonds.

5           So like I said, this standard is very unique.  
6 Usually, standards only have the testing method itself. But  
7 in this standard, it also has the allowable concentrations,  
8 the 35 chemicals that you can see on this table. I will not  
9 go through, of course, all the chemicals, but if you are  
10 interested, you can find the standard on our website.

11           So then, next, I will change gears to building  
12 dampness, mold, and health. About this topic, we have  
13 developed a statement that you can see on the screen. And the  
14 highlight of this statement is in the gray box which I will  
15 enlarge in the next screen. So what it says is, in red,  
16 presence of water damage, dampness, visible mold, or mold odor  
17 in indoor environments is healthy [sic]. So that's what it  
18 basically says. And in a lot of cases like the commercial  
19 labs or contractors -- I mean, not contractors; consultants --  
20 they tend to do air sampling when there's a mold issue. But  
21 in this statement we are saying we do not recommend measuring  
22 microorganisms, especially the airborne ones, because it's  
23 very difficult to find a linkage between the health effects  
24 and the airborne microbials.

25           And to explain or to share how this statement had

1 influence to the public, in 2016, there was a new residential  
2 building code adopted, and it defines what substandard  
3 buildings are. And in it, it says if you see dampness in  
4 habitable rooms or visible mold growth which is determined by  
5 a health officer or a code enforcement officer, that building  
6 will be declared as substandard housing. So this is sort of  
7 new to the state or actually in the whole country since there  
8 was no definition to assess dampness and mold in the past.

9           So suppose you're the public. So you see the  
10 statement, you see what's written in the building code, but  
11 you may want to know: So who should I ask in my county? And  
12 a lot of -- especially the renters were just passed around by  
13 various bodies. But to avoid that, we made this database  
14 which shows or where you could search whom to contact in your  
15 county. So this is what the website looks like. If you  
16 scroll down, you could type in the name of the county or city,  
17 and then it will give you who to contact, the phone number,  
18 and some of them it might have the email address.

19           We did have difficulty identifying all the contacts  
20 in the counties. So we didn't mean to humiliate them, but we  
21 just wanted to sort of share with the public that these -- we  
22 could not find the contact info in these counties or  
23 jurisdictions. So if someone finds them, you know, they could  
24 sort of update us, and we could add that information to our  
25 database.

1           Besides that, besides this database, as another  
2 product of outreach, we have made a video and which is posted  
3 on YouTube which tells you -- which is sort of a guidance to  
4 the code enforcers how to assess dampness and mold.

5           And another one is -- this is under public comment  
6 right now, but two decades ago our department was sort of  
7 assigned to draft a booklet that the renter should receive  
8 when they -- before they sign a contract, which is on mold and  
9 moisture for renters in California. So this is still open for  
10 public comment until November. So if you're interested,  
11 please go to our website.

12           So this one I already shared, but I think this --  
13 what do you call it? -- this automatic range hood system may  
14 be one of the answers to resolve the classical IAQ issue which  
15 I mean is the human behavior. So if there's a decision  
16 process to reduce IAQ, in a lot of cases the occupants will  
17 not choose the right -- make the right decision. So maybe  
18 having the option of this kind of system may help. This is  
19 just my personal opinion.

20           Going through this, it looked like we're only doing  
21 outreach, but we are doing some research. The stats are here.  
22 And going back to the first question: Do we have the  
23 authority to improve IAQ? The answer to that is no.  
24 Basically, it's done by the locals. And the ways that we  
25 could help? I think a lot of work has been already done by



1 LBL or UCLA, but we could also help as a research group. And  
2 based on the findings from the research, we could help develop  
3 solutions. And at the end, of course, this is our main  
4 purpose, but we could help promote healthy IAQ in California.

5 So that is it. Thank you.

6 MR. STRAIT: Thank you. I'd better unmute myself  
7 first. As a note for folks that are providing answers into  
8 the Q&A, we absolutely appreciate folks that are taking the  
9 initiative in the chat box and in the Q&A box too. It helps  
10 support learning by everyone. To the extent we are dismissing  
11 some of those that are not strictly questions, we mean no  
12 disrespect. I'm just trying to keep this very clear and open  
13 so that I know what to read to the other presenters. So  
14 please don't take it as a slight if I move things over to that  
15 other tab.

16 We do have a couple questions on the technical  
17 content here. First, from Yi Tien (ph.). CARB stated that  
18 buildings represent 25 percent of California greenhouse gas  
19 emissions. And is this all buildings or is it specifically  
20 residential buildings? And then they also stated that 10  
21 percent of emissions are associated with natural gas use in  
22 buildings. What are the emissions sources of the other 15  
23 percent? This looks like it goes back to the prior  
24 presentation by CARB, but I don't want to let that slip by  
25 accident.

1 MS. ZHANG: Yes, sure. This is Zoe of CARB. So  
2 it's 25 percent GHG emission account for both commercial and  
3 the residential buildings. And that 10 percent emission from  
4 natural gas use and the remaining GHG emissions from, let's  
5 say, for example, electricity generation used in those  
6 buildings, and also there are some other small pieces like,  
7 say, waste management, something like that. But 10 percent of  
8 GHG in combination is a big chunk of that whole GHG emission  
9 from the building sectors.

10 MR. STRAIT: Excellent.

11 Cal Smackna (ph.) asks -- and this is relative to  
12 the current presentation -- is there any data correlating the  
13 presence of mold in sealed envelope dwelling units and  
14 verified mechanical ventilation rates?

15 MR. KUMAGAI: I have to ask myself. I'm not sure.  
16 I'm sorry.

17 MR. STRAIT: We can also email this question to you  
18 after the presentation if you want your staff to follow up.

19 MR. KUMAGAI: Okay, yeah.

20 MR. STRAIT: Let me copy that over to the notes that  
21 I have.

22 And then that one's not a question. Let me check  
23 the chat box, see if there were any questions that came in. I  
24 do not see any additional questions for this presentation in  
25 particular, so I'm going to go back to some of the general

1 questions. This is just going to be for all of the panelists.

2 MR. BOZORGCHAMI: Peter, this Payam. Apologize. If  
3 anybody of the attendees would like to raise their hand and  
4 ask a question, we're more than welcome to take those too.

5 MR. STRAIT: Yes. Now that we're at the end of the  
6 panelists' presentations -- obviously, if any panelist wants  
7 to jump in and ask questions or discuss with any other  
8 panelists, please feel free to jump in at any time. And  
9 anyone that wants to ask a question that hasn't done so via  
10 the either chat or the Q&A, if you want to raise your hand,  
11 then I can unmute you so you can ask your question.

12 Some of the general questions that we have received,  
13 I'm just going to go back to the earliest and work through.  
14 Amy Dryden (ph.) is asking: Can we discuss physical range  
15 hood design factors, so just coverage over burners, that  
16 affect capture efficiency? And are there opportunities to  
17 have range hoods rated on capture efficiency to inform product  
18 selection?

19 So I'll start off by saying part of the goal that  
20 we're having or one of the items of conversation is that we  
21 noticed that there is work toward creating an HVI rating  
22 program that would allow these to be rated using that CE  
23 metric and that that would inform purchasing decisions as well  
24 as be available for incentive programs that might operate in  
25 certain spaces as well as standards that we might establish

1 here in the California Energy Commission.

2           And that actually feeds into the next question I see  
3 from Randy Young asking how this would be enforced for  
4 alterations given that many homeowners change their own hoods  
5 without a building permit. Randy is correct that a building  
6 permit is not generally needed to replace an over-the-range  
7 hood or over-the-range microwave. So the context at the  
8 moment is really focused on a standard for newly constructed  
9 buildings for that reason. However, to the extent that we  
10 create that capture efficiency requirement and that rating  
11 system comes to exist, that can also inform folks looking to  
12 replace their equipment in an alteration context and hopefully  
13 be the basis of some incentive programs, possibly some other  
14 activity that would make it more likely to put those  
15 appliances in those spaces.

16           MR. BOZORGCHAMI: Peter, we have a question from  
17 Susan B., I think it is. I apologize. Please state your name  
18 and affiliation.

19           MR. STRAIT: We have to -- there we go.

20           MS. B.: Hi. Thank you for -- is this the time for  
21 public comment? That was my intention.

22           MR. STRAIT: We're still focusing on questions based  
23 on people that want clarification or more information about  
24 the presentations to really lay that groundwork first.

25           MS. B.: Okay. So sorry.

1           MR. STRAIT: Not a problem at all. We are coming up  
2 on 12:00. I was going to ask whether we wanted to move  
3 straight into a public commentary after these questions or if  
4 we wanted to have a break for some food. I suspect that a lot  
5 of folks are probably quietly and secretly eating at their  
6 desks at the moment. But for the moment, let's work through  
7 the questions on technical content first and then we'll talk  
8 about commentary.

9           Actually, Brett, do you want to talk about the  
10 physical design factors that you found influenced capture  
11 efficiency?

12           MR. SINGER: Sure, briefly. We did this --  
13 actually, we looked at this -- it's in a 2012 paper, but it's  
14 pretty intuitive, actually. The farther out the range hood  
15 comes, the better your capture will be for your front burners.  
16 A lot of range hoods cover the back but don't really cover the  
17 front burners. And then the more that it has an actual hood  
18 design, generally they work better. So some of them were just  
19 kind of flat surfaces with a small opening for the exhaust air  
20 and so modestly blocks the flow up and then you're trying to  
21 suck it through a small surface.

22           The microwaves, you would think that they would,  
23 because of the form factor, they would be very good for the  
24 back, and they are. Not very good for the front. But what we  
25 what we've come to realize is that the amount of air that they

1 pull in from those openings at the top of the microwave, the  
2 top front, varies, and that helps a little bit with the front  
3 of the capture efficiency on the front burners as well.

4 We see, I would say, more variability in the capture  
5 efficiency based on the design elements in the range hoods  
6 than we do in the microwaves, just because the microwaves are  
7 all much more similar. But there is some very variation in  
8 the design.

9 And then I think Tom Phillips is on the line. Tom  
10 likes to talk about things you can do where you bring kind of  
11 extra panels out to make an even bigger hood and that  
12 certainly works from an engineering perspective. Obviously,  
13 the aesthetics may or may not work for everybody, but in  
14 short, if it has a hood, it's better. And the larger the hood  
15 is, the better it is to kind of temporarily capture the  
16 exhaust and suck out from there. Whereas, the more flat it  
17 is, then the less opportunity you have. So you can overcome  
18 that with higher flow, but it does create a design challenge.

19 COMMISSIONER McALLISTER: Can I -- Peter, I wanted  
20 to step in and ask a couple of clarifying questions here.

21 MR. STRAIT: Certainly.

22 COMMISSIONER McALLISTER: So, hey, this is Andrew  
23 McAllister. Thanks, Brett, for that. I had a question about  
24 this, kind of related to this. Does it help to have makeup  
25 air nearby in terms of creating the kinds of airflows that you

1 need to be more effective, to capture? That's one question.  
2 So, you know, if you had an inlet near the exhaust duct work  
3 to bring in outdoor air and maybe baffle in there somewhere,  
4 would that help with the capture efficiency? That's one.

5           Then, number two, in your presentation, you made a  
6 point I found interesting that induction inherently produced,  
7 I think it was, fewer particulates than resistance electric  
8 cook tops. And I'm wondering if you have any idea or can  
9 speculate about why that might be the case?

10           MR. SINGER: Well, so the second one is actually  
11 relatively easy. And the physical mechanism by which the  
12 electric coils produce the ultrafine particles is it's the  
13 same mechanism when you turn your furnace on for the first  
14 time every year and it stinks. So basically there's  
15 accumulated dust and organics that have settled onto the coils  
16 or the heat exchanger, and then when you heat those up, they  
17 go out into the air, they volatilize, and some fraction of  
18 those will then re-condense into ultrafine or very, very tiny  
19 particles. So that same thing happens and to a smaller extent  
20 every time you turn on your coil or even just if you have a  
21 glass top. It's a hot enough surface that you're really going  
22 to volatilize it if it's on that surface. The induction  
23 cooking, by contrast, doesn't get as hot.

24           There's another issue we haven't talked about at all  
25 which I think is actually pretty important. Not my area of

1 expertise. I've done a little bit of reading. But there's  
2 some information available which is safety and fires, so  
3 injuries in fires. The susceptibility or the risk of gas,  
4 electric coil, and induction burners present very different  
5 pictures for fire and injury hazards. Coil are particularly  
6 dangerous because we turn off the burner and you remove the  
7 pot. The surface remains very hot. So if you drop a towel or  
8 something or your young child comes and touches that surface,  
9 there's going to be a burn or potentially a fire. Obviously,  
10 gas can produce fires too. A lot of cooking fires are from  
11 the cooking itself. Induction presents a lower risk for both  
12 the injuries and the fires, so it's another advantage for the  
13 induction.

14 On the other question was about --

15 COMMISSIONER McALLISTER: Makeup air.

16 MR. SINGER: Yeah, so this concept of creating kind  
17 of an air curtain, right? You bring air in from below and  
18 then your makeup air comes directly in from below and then,  
19 you know, goes right up to the hood. In theory, that can work  
20 really well, right? Obviously, if you're standing over it and  
21 you're doing a lot of activity, that breaks up the capture of  
22 any range hood and would also break up that air curtain.

23 So the air curtain, there's an engineering benefit  
24 to doing it, but then it so much more constrains your design,  
25 right, and adds cost to have to, you know, provide that makeup



1 air directly at that point. So, yes, is it an effective  
2 engineering solution? But it is a much more complicated and  
3 potentially more expensive solution as well.

4 COMMISSIONER McALLISTER: All right, thank you.

5 MR. STRAIT: Do you have any other questions,  
6 Commissioner?

7 COMMISSIONER McALLISTER: No, I think I'm good for  
8 now. Let's see. I guess I did want to sort of talk through  
9 the rest of the session here. We are after -- we're kind of  
10 at lunchtime. I do want to give you and staff and, you know,  
11 some of us opportunity to actually have a little bit of a  
12 break. But on the other hand, we're not that far away from  
13 finishing up since Susan already went. And then the second  
14 staff presentation would be the only remaining formal  
15 presentation, and then we would have public comment. And so I  
16 guess I wanted to just get a read together on whether we  
17 should take a break or whether we should just plow on through.

18 MR. STRAIT: Yeah. The staff presentation really is  
19 just to tee up the public comments and kind of provide a  
20 little more context, explain a little bit about what the  
21 energy commission can do, et cetera. We could do a show of  
22 hands for folks that feel we should take a break. That might  
23 be a good democratic way to do it.

24 Before we do that, we just have two more general  
25 questions I want to very quickly get out of the way that

1 should be easy to answer.

2 COMMISSIONER McALLISTER: Great. Go for it.

3 MR. STRAIT: First, and this is directed at Marian,  
4 and this is the question: What static pressure is associated  
5 with the proposed minimum airflow rates or minimum capture  
6 efficiency?

7 MS. GOEBES: Right. The static pressure is -- I  
8 believe it's -- sorry, can you repeat the question again,  
9 please?

10 MR. STRAIT: The question is just: What static  
11 pressure is associated with the proposed minimum flow rates?

12 MS. GOEBES: Right. So for the minimum airflow  
13 rates, it's .25 -- sorry, it's -- yeah, it's .25 pascals or .1  
14 inch water pressure for the capture efficiency. That's the  
15 (indiscernible). It's the static pressure that would be  
16 related to whatever the equivalent nominal installed airflow  
17 is according to the HVI standard 920. So it's going to vary a  
18 bit by product.

19 MR. STRAIT: Yeah. We also have a general question,  
20 and anyone who might know can jump in and answer. Is the  
21 capture efficiency metric based on the front burners? I think  
22 we might have answered this in --

23 MS. GOEBES: That's right. The ASTM method is based  
24 on the front burners. Sorry, I just misspoke on that. It's  
25 25 pascals or .1 inches water pressure.

1 MR. STRAIT: Oh, .1?

2 MS. GOEBES: That's the air -- yes. And then,  
3 again, the capture efficiency static pressure is based on the  
4 nominal installed flow. And then, yes, the ones that we've  
5 been using is -- our results and the ones required in Title 24  
6 proposal is the ASTM which is the front burner testing.

7 MR. STRAIT: Lastly, I know one more question popped  
8 up. Wayne Aldrich (ph.) asks: If there is a proposal to  
9 interlock the range controls to the hood fan, that is  
10 certainly a concept that we're aware that might be an  
11 approach. We would need to know a lot more about the  
12 prevalence -- the market availability of that in the U.S. and  
13 the associated marginal cost to know if it's something that  
14 the Energy Commission could require. But it's certainly  
15 something staff is aware is a potential, and so it's part of  
16 what we're looking at.

17 MS. GOEBES: Yeah, I think it's a great idea. I  
18 know it's gone into a couple of projects, but that seems to be  
19 kind of the best practice but hard to require and code.

20 I want to say one other thing, too, also, just to  
21 build on what Brett had said about the differences in PM 2.5  
22 by fuel type. This is, I think, still a hot topic of debate.  
23 It would be great to get some research on this before the next  
24 code cycle. The studies that I looked at, I know Professor  
25 Zhu had cited a couple papers in her UCLA research paper. And

1 then one that I found that really did a comparison, it was  
2 interesting, there was actually more PM 2.5 by mass under one  
3 fuel type, but then more PM 2.5 by number of particles under  
4 the other fuel type. So it's not really clear when you say,  
5 you know, one produces more, it actually depends on which  
6 metric. Again, like, in terms of a micrograms per cubic  
7 meter, I believe the gas range produced more. But in terms of  
8 a particle -- number of particles -- the electric, I believe,  
9 produced more. I might have gotten that switched in terms of  
10 which produces -- you know, which have more in terms of the  
11 metric, but I do know that one produces more, you know,  
12 depending on the metric you're looking at.

13 MR. STRAIT: Sure.

14 MR. SINGER: If desired, I could say another word or  
15 two about that, but I don't want to --

16 MR. STRAIT: Oh, certainly.

17 MR. SINGER: Yeah, so the regulated pollutant is the  
18 mass of particulate matter that is measured through a very  
19 specific set of equipment. And we use 2.5 as a  
20 (indiscernible) point because that's the size of particles  
21 that can get down into our lower respiratory system, as  
22 opposed to PM 10 which is more up top. There's this separate  
23 thing of -- we mentioned the number of particles or ultrafine  
24 particles. They generally don't have a lot of mass, but they  
25 are considered hazardous because they can move through the

1 body's defenses in ways that larger particles cannot. The  
2 question of whether gas versus electric has -- first of all,  
3 neither one of those burners generally produces a lot of PM  
4 2.5 NOx. And then in terms of the number concentration, the  
5 number of particles, or the number of ultrafine particles,  
6 from what I've seen, generally, gas produces more. And then  
7 the electric is very dependent on the conditions. Because, as  
8 I mentioned, it's not the electric coil itself; it's stuff  
9 that's depositing on the coil or on the surface. So depending  
10 on the environment, you could have, you know, widely varying  
11 ultrafine particle emissions from the electric. Whereas, the  
12 gas itself, the gas burner will itself produce ultrafine  
13 particles.

14 MR. STRAIT: The last question that I have here to  
15 answer is from LDELL who just submitted: What is the  
16 magnitude of the difference in risk of range or cook top fires  
17 injuries and deaths for electric versus gas? Do we want to go  
18 to that level of detail on this? Or can you speak to that  
19 right away? Can someone speak to that right away, I should  
20 ask.

21 MR. SINGER: Someone put in the chat from the NFPA  
22 cooking fire data shows that electric cooking represents about  
23 three times more cooking fires than gas cooking, but there are  
24 twice as many electric ranges, so that would be -- you know,  
25 if we divide 3 by 2 you get 1.5 times many. When I've looked

1 at this, I wasn't convinced that we have clear enough data on  
2 that. You know, a lot of this is sort of observational  
3 reported; not controlled study kind of data. So, you know,  
4 the fires are an issue with both. And I think there's a  
5 separate report on burns. I don't have the data handy, but  
6 maybe if we come back after a break I can try to figure that  
7 out.

8 MR. STRAIT: Sure. We're getting a couple more.  
9 This is the last one and then I'm going to -- okay, we've got  
10 a couple more.

11 Steve Gatz (ph.) from Whirlpool is asking: Of the  
12 range hoods available that exceed the minimum airflow rate  
13 required to make the CE requirement, how many of them would  
14 also require makeup air due to exceeding the 400 CFM limit?  
15 And I'm not sure if we have the ability to answer that  
16 question on the --

17 MS. GOEBES: Right. I was going to say, I think  
18 actually all of the range hoods that we looked at in terms of  
19 availability, we stopped at 400 CFM because we assumed that  
20 they wouldn't be putting in higher than 400 CFM.

21 MR. STRAIT: Yeah.

22 MS. GOEBES: You know, range is such a small unit.  
23 So I think that the availability and pricing that we showed  
24 was for whatever the requirement is, 290 up to 400.

25 MR. STRAIT: Yeah. And I'll add that we do assume,

1 for example, if somebody is installing something of that size  
2 they know they're going to -- they know when -- that engineer  
3 that's responsible for that knows when they're going to start  
4 needing makeup air. For example, if an engineer knows they're  
5 building a passive house, those are very tight and they, by  
6 definition, need makeup air, so some of that is going to come  
7 down to that engineer involved.

8 MS. GOEBES: Right. And then one other thing that I  
9 put in the chat is that we had also, on the Statewide CASE,  
10 had included -- and this is in the more recent version of the  
11 report so I don't know if the stakeholders have seen it -- but  
12 there's a requirement -- there's a reference within Title 24,  
13 Part 6, where these range hood requirements are laid out,  
14 there's a reference to meeting the California Mechanical Code  
15 Section 7 requirements. And that spells out minimum volume of  
16 air for combustion air. And we did do some quick back of the  
17 envelope calculations and found for small units you wouldn't  
18 generally be able to put in a gas range, a gas water heater,  
19 and a gas furnace because you wouldn't have enough -- you  
20 would not meet those requirements in terms of sufficient  
21 combustion air, so they are going to come up against that  
22 issue as well.

23 MR. STRAIT: Sure. We've got a couple of kind of  
24 related questions. I'm going to ask these two at once.

25 COMMISSIONER McALLISTER: Peter, let me just --

1 MR. STRAIT: Go ahead.

2 COMMISSIONER McALLISTER: I want to just step in and  
3 make a proposal just to set expectations here. So I think we  
4 should definitely continue as long as these questions are  
5 coming in along this theme. This is really nice clarification  
6 and I don't want to impede that, so please continue to  
7 moderate that. I'm going to propose that once the questions  
8 peter out for the panelists that we have online right now, we  
9 break, and then we come back after a half an hour, and then  
10 you can step in and kind of set up -- do the final  
11 presentation to set up the comment period because I think  
12 we're anticipating a fair amount of public comment. So I  
13 think that would be the most humane path forward, and we can  
14 sort of just trigger that when we work through this particular  
15 back and forth.

16 MR. STRAIT: Agreed. I don't think anyone wants --

17 COMMISSIONER McALLISTER: Does that sound good?

18 MR. STRAIT: -- a risk of people being hangry when  
19 we're taking public commentary.

20 COMMISSIONER McALLISTER: So hopefully that sounds  
21 good and we'll go forward like that. Thanks.

22 MR. STRAIT: Okay. So this is just -- I'm going to  
23 read these two because they're somewhat related. Eric  
24 Reynolds asks if there's been research on emissions  
25 differences between gas and specifically induction. And then



1 Denise Grab (ph.) asks: Would smooth top electric stoves or  
2 induction stoves present the same fire risk or less than gas  
3 and coil electric? Does anyone want to speak to that level of  
4 detail of your induction versus the other options?

5 MR. SINGER: We did just a few measurements of the  
6 ultrafine particle emissions from induction and it's in a  
7 published paper. It's a very small note. It was maybe, you  
8 know, on the order of 10 to 15 of each or something. So  
9 that's why I said they appear to. I'm not aware of more  
10 systematic or larger research, but I think it's warranted.

11 In terms of the glass top, I haven't seen research  
12 on ultrafine particle emissions from glass top or details on  
13 the burner, but the glass top do have that key feature of  
14 remaining very hot after you turn it off and remove it. So  
15 it's not as sharp as it is to coil because the coil is kind of  
16 underneath there, but I think that the basic issue is the  
17 same.

18 MR. STRAIT: No, I certainly remember an old science  
19 class where we had to heat and bend glass tubes, and it will  
20 stop glowing long before it stops being able to burn you, so I  
21 definitely get that.

22 Ann Harvey (ph.) asks: Can hood fans be triggered  
23 by PM concentration rather than motion range controls or  
24 humidity, et cetera, since the particulate matter correlates  
25 with the need for higher settings on the fan?

1           MS. GOEBES: I think in concept, yes. And, Brett,  
2 or maybe if Mike Moore is on the phone from (indiscernible)  
3 Ventures, was that with -- I know there's been an energy --  
4 excuse me, a (indiscernible) technology study that was funded  
5 by the DOE looking at smart hoods. Was that triggered by PM  
6 2.5 or was it a different pollutant that triggered the range  
7 hood to turn on?

8           MR. STRAIT: Who was the other person you were  
9 asking? Was on the attendees? If they can raise their hand,  
10 I can allow them to speak.

11          MS. GOEBES: Right. Or maybe, Mike Moore, if you're  
12 able to just type it in. But I think in general I would say,  
13 you know, theoretically, yes. But we did do -- I will say the  
14 Statewide CASE Team also looked into, you know, are there  
15 products available that we could require that do use some sort  
16 of sensor such as a pollutant-based sensor or occupancy. And,  
17 you know, we didn't find one based on PM 2.5 -- we looked for  
18 that -- or NO2. It's not integrated, although I think that  
19 would be feasible. The main reason why we didn't require an  
20 automated hood was for the reasons that have sort of been  
21 described already today. You know, Brett mentioned that, in  
22 general, occupants want control over their range hood, and so  
23 we were concerned that without a lot of market use of these  
24 types of products -- because we found very few that are  
25 available on the market right now. And so these certainly

1 would be required without much market testing. We were  
2 concerned that people would disable them, similar to how a lot  
3 of people have disabled their Z ducts or trickle vents by  
4 putting cardboard over them because they hate the draft. So  
5 we're just concerned about that aspect.

6           And then, you know, we also received a lot of  
7 comments about different proposals for what should be required  
8 in terms of the trigger. PM 2.5 occupancy, heat, humidity,  
9 just trigger whenever -- you know, switch whenever it's turned  
10 on. And we felt that more investigations were needed to  
11 understand which of those pathways or approaches would be the  
12 best one and, in particular, which would be the most amenable  
13 to the user before we could require it in code. So we think  
14 this is a great idea for an emerging technology study, but in  
15 terms of requiring it for 2022, we just felt like the market  
16 wasn't there and the research wasn't there.

17           MR. SINGER: I can comment briefly. There are very  
18 good, robust PM 2.5 sensors. They don't actually see all of  
19 the PM 2.5 that's generated from cooking just because of the  
20 way that they detect PM 2.5. But they probably could be  
21 fairly robust in terms of helping to reduce PM 2.5 exposures  
22 if they were, like, tied to a range hood. So it's something  
23 that, you know, could be considered.

24           And then for NO<sub>2</sub>, it's almost certain that there are  
25 no affordable, low-cost sensors. Those PM sensors are

1 probably \$15 or up at bulk scales and probably function well  
2 for at least a few years. For the NO<sub>2</sub>, there's not an  
3 affordable sensor that I think has been validated to be  
4 reliable, you know, over time and at the concentrations  
5 needed.

6           And then when you start bringing in a sensor-based  
7 control, then it, I think, complicates the challenge of how do  
8 you require that it lasts for a sufficient period of time? So  
9 in commercial buildings in California, for example, we have  
10 CO<sub>2</sub>-based demand control ventilation. And in the code there's  
11 a requirement that the sensors should be rated to operate for  
12 at least five years. There's not enforcement of that. It  
13 turns out that they actually do seem to be much better once  
14 the code required that five year. Even though it was just a  
15 nominal requirement, we saw the sensors get better. That  
16 could just be a correlation not necessarily causation.

17           But there's still a question of what happens beyond  
18 those five years. You install the system. Six, seven years  
19 later, does that mean your system now is operating incorrectly  
20 because it's based on this detection that is inaccurate? So  
21 sensors are great but there does need to be, you know, at  
22 least an initial reliability and some requirement for the  
23 duration, and then also some kind of maintenance or some on-  
24 board diagnostic to determine when the sensors are  
25 problematic.

1           The last thing I'll say, consider your car. Your  
2 car obviously works on lots of sensors, but your emission  
3 controls in your car require air-fuel ratios, stoichiometric  
4 air-fuel ratios, which are detected by an oxygen sensor. Very  
5 often you will get an error message that your oxygen sensor is  
6 not functioning properly. So there's actually a sensor to  
7 check the sensor because that's such a critical control. So I  
8 think when we're starting to move -- if we're going to be  
9 relying on these kind of sensor-based controls, then we need  
10 to have good diagnostics of -- and alert to when the sensors  
11 are not functioning properly, and I think we're somewhat far  
12 away from that.

13           MR. KUMAGAI: This is Kaz of CDPH. To add to  
14 Brett's comments, I also think that we need to understand the  
15 interference to those sensors. For example, we use  
16 particulate sensors. Maybe, like, the fan might be going on  
17 all the time during wildfire season, so the interference, the  
18 duration, there's a couple of things that we need to  
19 understand what's specifically linked to the cooking activity.

20           MR. STRAIT: Thank you. Makes sense.

21           We have one person had their hand raised but they've  
22 put their hand down. So I'm not seeing any more questions.  
23 We have one person that's talking about what we allow, and  
24 obviously the building code at the moment allows all of these  
25 sorts of solutions. It's a question of what should become

1 part of the minimum code requirements, noting that the code is  
2 a minimum standard and, like I said, best practice is somewhat  
3 difficult to always integrate as your minimum requirement.

4 But for now, let's go ahead and move to --

5 MR. BOZORGCHAMI: Peter, this is Payam. I  
6 apologize.

7 MR. STRAIT: Yes.

8 MR. BOZORGCHAMI: Mr. Jeffery Smith, you had your  
9 hand raised. Did you want to speak, or did you get your  
10 question answered?

11 MR. STRAIT: Oh, he's raised his hand again. Here  
12 we go.

13 MR. SMITH: Hi, I'm Jeffery Smith. I'm a consultant  
14 with the World Health Organization here in Geneva so I won't  
15 be having lunch now. It's about 9:30, 10 p.m. But my point I  
16 wanted to make was made by the last commenter that there would  
17 be many false positives in trying to use PM 2.5 low-cost  
18 sensors. I'm WHO's low-cost monitoring expert working in  
19 community engagement, citizen science. But there would be a  
20 lot of false positives and, as the other speaker had said,  
21 especially during wildfire seasons or highly polluted  
22 environments. The fan would be coming on.

23 And then, you know, trying to do a demand-controlled  
24 ventilation based on PM 2.5 brings a lot of complexities. The  
25 users would feel that it's running on too long because we

1 would program it probably to run for an extra 5 to 10 minutes  
2 after the level is no longer detected because it's not  
3 detecting the ultrafines or the nanoparticles, and this would  
4 become irritating to, let's say, household homeowner users.  
5 That's all I had to say. Thanks.

6 MR. STRAIT: Thank you very much. We're glad to have you  
7 as part of our participants.

8 MR. BOZORGCHAMI: Peter?

9 MR. STRAIT: Yes.

10 MR. BOZORGCHAMI: Mike, I think that's Michael  
11 Moore --

12 MR. STRAIT: I believe so.

13 MR. BOZORGCHAMI: -- raised his hand. Please state  
14 your name and your affiliation.

15 MR. MOORE: Thank you. Yes, this is Mike Moore with  
16 Newport, here today representing HVI, and also I worked on the  
17 smart range hood project, as Marian mentioned earlier. And we  
18 did look at many different environmental sensors as well as  
19 pollutant sensors and what's been said about these sensors and  
20 their limitations are certainly valid. I just wanted to say  
21 that a lot of that can be overcome by the algorithms, the  
22 control algorithms that are written to interpret the signals  
23 that are being sent by the sensors.

24 And a lot of the work that we did in that project  
25 also looked at user acceptability. We had a very small sample

1 set, but we did a lot of tests and also got some feedback from  
2 those users for multiple scripted scenarios as well as just  
3 kind of ad hoc cooking. And so these are -- there are certain  
4 challenges to the technology, but there is a lot of promise  
5 with it, as well, and nothing that can't be overcome at this  
6 point. We're hoping these products will be available in the  
7 market in the near future, so look for that DOE report when  
8 it's released. Thanks.

9 MR. STRAIT: Thank you. I notice that Eric Reynolds  
10 actually entered into the chat. If we could quickly answer  
11 his question? I thought that the chat that we were having,  
12 this conversation about these PM 2.5 sensors, was responsive,  
13 but they were simply asking what detection technologies at  
14 what cost and high production volume could be integrated into  
15 induction or electric stoves. It feels like we've already  
16 answered their question, but is there anything else people  
17 want to say specifically to Eric's question?

18 Okay, not hearing anything. We are at 12:40. If we  
19 take the break now for --

20 I'm sorry, go ahead. Someone want to speak? I  
21 thought I heard something. I'm sorry.

22 If we want to take a break now, we would be  
23 returning at 1:10. Staff would give a short presentation to  
24 tee up public commentary, and then we'd basically go through  
25 the list based on whoever wants to raise their hand to speak.



1 So is there anything else folks want to say before we go and  
2 get some food?

3 Not hearing anything. I want to extend my sincere  
4 thanks to all participants, any and all that were able to join  
5 up to this point but might not be able to make it back after  
6 the call or after the break. Otherwise, I'd encourage  
7 everyone, you know, go out there, refuel, get your thoughts in  
8 order, and we will come back at -- let's actually round up to  
9 the quarter. Let's go to 1:15 when we return, and we can  
10 start the public process.

11 And I will meanwhile whip up a quick slide to let  
12 people know and I can share my screen so that we can see it.

13 (Lunch break)

14 MR. BOZORGCHAMI: Peter, this is Payam. Are we  
15 going to start with the raised hands first or are we going to  
16 go right to the Q&As?

17 MR. STRAIT: Let me see what's been typed in.  
18 Because, again, we should be getting public comments rather  
19 than Q&A. And the ones that are still in the Q&A right now I  
20 can dismiss these. These were from previous. I know we saw  
21 some things in the comment box. Also, I know we will  
22 eventually also have to allow the folks that are call-in only  
23 to provide their comments. They'll likely be after we use the  
24 raised hands. And I think there is a key combination if  
25 you're dialing in by phone that will allow you to raise your

1 hand.

2 MR. BOZORGCHAMI: Yes. It's star 6 to mute and  
3 unmute yourselves.

4 MR. STRAIT: Yeah. There is a Robert Gould that  
5 mentioned that they have a time limit of 2 p.m., so if we see  
6 them back on with their raised hand, we can allow them to  
7 speak, kind of get that done. If anyone else has any specific  
8 pressing time constraints, let us know. We'll do our best to  
9 accommodate, but we don't want that to become an opportunity  
10 for people to simply jump the line all told. So until Robert  
11 gets back, I'm just going to take them in the order that  
12 they're here on the screen. So the first person with a  
13 comment is Brady Seals.

14 I'm going to allow you to speak. Please remember to  
15 introduce who you are and, if you're representing anyone, who  
16 you're representing for the benefit of our court reporter.

17 MS. SEALS: Hi, good afternoon. My name is Brady  
18 Seals and I work at the Rocky Mountain Institute. I'd like to  
19 just start by thanking the Energy Commission for hosting this  
20 important workshop and really thank you to the leading  
21 researchers and experts for taking the time out of their busy  
22 schedules to be here today.

23 Prior to Rocky Mountain Institute, I worked for 11  
24 years on household energy cook stoves and indoor air pollution  
25 globally, and I'm proud to continue this work at RMI.

1           You know, there really are few things more rewarding  
2 than knowing you played a small role in helping a family get  
3 access to truly clean and safe cooking for the first time.  
4 And I fundamentally believe that if we continue this energy  
5 and health leadership in California, we will have many more of  
6 those moments.

7           A stated impetus for this workshop is the  
8 advancement in our scientific understanding of the health  
9 effects of indoor air pollution, and the evidence is now very  
10 clear. For a long time, nitrogen dioxide was used as a proxy  
11 for measuring exposure to air pollution but that has changed  
12 with new studies showing that exposure to nitrogen dioxide, on  
13 its own, even in short doses and at low levels, can lead to a  
14 variety of health effects. The latest 2016 Environmental  
15 Protection Agency's Integrated Science Assessment or ISA  
16 analyzed all the latest literature and found for the first  
17 time there is a causal relationship between short-term  
18 exposure to NO<sub>2</sub> and respiratory effects, and there is a likely  
19 causal exposure for long-term exposure and respiratory effects  
20 including the development of asthma for which we have the  
21 strongest evidence.

22           So in this 1,000-page document, very comprehensive,  
23 something else became clear which is that indoor exposure is  
24 critical. Two key points from this ISA I want to mention.  
25 Number one is that the evidence shows that indoor exposure to

1 NO2 may be associated with more health effects than outdoor  
2 exposure. And, two, repeated short-term exposure leads to  
3 long-term exposure and increases the incidence of asthma.

4           So in this same study the EPA states that homes with  
5 gas stoves have 50 to 400 percent higher concentrations of NO2  
6 than homes with electric stoves. So it seems very clear to me  
7 that cooking on a gas stove at home is very likely a source of  
8 repeated short-term exposure. And our exposures are not  
9 equal. Children are more susceptible to illnesses from air  
10 pollution. Their lungs take years to develop. And lower  
11 income people and people of color experience many factors  
12 which makes them more vulnerable to gas stove pollution, a  
13 major one being that already having asthma. In California,  
14 one out of seven children have an asthma diagnosis, and in  
15 some counties that number is one in four. For these reasons,  
16 we can no longer rely on outdoor thresholds that are both  
17 outdated and unsafe to model what our indoor air levels should  
18 be.

19           As we heard today from UCLA, CARB, and LBNL, these  
20 outdoor standards are not sufficiently protective of health.  
21 So we've asked the CASE Team to look at the example of Canada  
22 who have reviewed the same health science, including U.S.  
23 studies, and revised both their outdoor standard and their  
24 indoor guidelines for NO2. The feedback we received was that  
25 U.S. standards are preferred. And so in that case, we must

1 accelerate the development of these U.S. guidelines. Luckily,  
2 in California, we have the Air Resources Board, one of the  
3 strongest air agencies in the country. And from the  
4 presentations we saw today, they are ready to engage in this  
5 process. So my ask to the CEC is to please prioritize this  
6 work with CARB so we can finally, once and for all, use a U.S.  
7 benchmark that are truly protective of health in modeling our  
8 ventilation standards.

9           My next and last ask to you is this: We can and  
10 should work to make ventilation as strong as possible, but  
11 ventilation only works when it's on. I was going to say that  
12 we know from surveys that four to six out of every ten people  
13 in California don't use their ventilation, but now, after  
14 hearing from Mr. Singer, I realize that number may be closer  
15 to eight or nine in ten. And the top reason is that people  
16 don't think it's needed, so we need to change that with not  
17 just education but clear labels including warning labels.  
18 What's really needed is automatic ventilation while cooking  
19 like we saw in Japan. If ventilation is what we rely on to  
20 safeguard us, it's like the seatbelt to our car, and we can't  
21 only use it sometimes. For this reason, I think we need to  
22 move towards decarbonizing our homes, and that includes  
23 decarbonizing our kitchens. Again, I'll just note the  
24 strongest evidence we have for NO<sub>2</sub> is repeated short-term  
25 exposure leading to long-term exposure.

1           Thank you very much for the opportunity to comment,  
2 and I look forward to your continued leadership on this issue.

3           MR. STRAIT: Thank you very much for your comments.

4           I've been asked to confirm which of our panelists  
5 are actually back. You know, we all had the same 1:15 time,  
6 and all of this is being recorded for everyone's benefit, but  
7 if each person that was on the panel could speak up briefly  
8 just to let us know that you're back from your break?

9           COMMISSIONER McALLISTER: Hey, Peter, this is a  
10 Commissioner Workshop, of course, so I just wanted to let  
11 everybody know I am back as well, so I'm listening in. So  
12 thanks, everybody, for your questions.

13          MR. STRAIT: Excellent. Thank you.

14          MR. KUMAGAI: Hi, this is Kaz Kumagai and I'm back.

15          MR. STRAIT: Excellent.

16          MR. SINGER: Brett Singer. I'm back.

17          MR. STRAIT: Excellent.

18          MS. GOEBES: Marian Goebes. I'm also here.

19          MR. WALKER: This is Brett's colleague, Iain Walker.  
20 I am also back.

21          MR. BOZORGCHAMI: Wonderful. Thank you.

22          MR. STRAIT: Yeah, thank you very much for that.

23                 Our next commenter is Stephanie Morris. Stephanie,  
24 I'm going to -- there you go. Someone else beat me to it.

25          MS. HOLMES-GEN: This is Bonnie Holmes-Gen. I'm

1 here, and I believe there are other ARB. I believe that Zoe  
2 and Pat will also be --

3 MS. ZHANG: This is Zoe Zhang.

4 MS. HOLMES-GEN: Yeah, okay.

5 MR. STRAIT: Excellent, excellent.

6 MR. WONG: Yeah, back as well. This is Pat.

7 MR. BOZORGCHAMI: Go ahead, Ms. Stephanie. Please  
8 state your name and your affiliation.

9 MS. MORRIS: Yes, hi. Can you hear me okay?

10 MR. STRAIT: Loud and clear.

11 MS. MORRIS: My name is Stephanie Morris and I'm a  
12 volunteer leader with Mothers Out Front Silicon Valley. I  
13 live in Campbell, California, and I'm a mother of an 11-year-  
14 old whose future I am gravely concerned about. On behalf of  
15 Mothers Out Front, a growing grassroots movement of 35,000  
16 mothers and others mobilizing for a livable climate for all  
17 children, I thank you for hosting this very important meeting.  
18 We commend you for being the first state agency to host a  
19 workshop on gas stove pollution and indoor air quality, a big  
20 concern of ours, particularly during this time of sheltering  
21 in place.

22 A clear body of evidence demonstrates the damaging  
23 health impacts of gas stove pollution. As mothers, we are  
24 especially alarmed by the fact that children growing up in  
25 homes with gas stoves are 42 percent more likely to experience

1 symptoms of asthma. We are deeply concerned that lower income  
2 communities and communities of color may be at higher risk of  
3 health impacts from indoor pollution due to higher asthma  
4 rates and building conditions that can result in higher  
5 nitrogen dioxide concentrations. And we are alarmed by the  
6 fact that indoor air can be so contaminated that the same air,  
7 if found outdoors, would exceed legal limits. Why would we  
8 set standards for outdoor air quality but neglect the quality  
9 of our air indoors where we spend far more time?

10           The current public health crisis only heightens the  
11 urgency to take bold and effective steps to reduce indoor air  
12 pollution. Therefore, we urge you to do everything in your  
13 power to protect public health by: A, implementing  
14 protections and adopting rigorous standards for indoor air  
15 quality; and, B, by accelerating a just transition to all-  
16 electric buildings.

17           We have four specific asks of you today. First, we  
18 ask you to set ventilation standards that ensure all  
19 Californians, including the most sensitive, will be protected  
20 from the health risks of gas stove pollution at all times.  
21 Ventilation must be automatic as there is evidence that  
22 occupants frequently do not use range hoods and powerful  
23 enough to reduce nitrogen dioxide pollution below a threshold  
24 that protects public health.

25           Second, we ask that you set a new U.S.-based



1 guideline for nitrogen dioxide concentrations. Rather than  
2 lose valuable time reinventing the wheel, we suggest that you  
3 adopt or adapt the excellent nitrogen dioxide standards of  
4 Canada or the World Health Organization. Collaborate with  
5 CARB and gather input from health and air quality experts,  
6 particularly those who have published recent studies on this  
7 topic, to ensure that even our most vulnerable communities are  
8 protected.

9           Third, in addition to setting health- and energy-  
10 based ventilation standards for new construction, we urge you  
11 to adopt requirements for existing buildings as well.  
12 Retrofits should comply with new construction requirements so  
13 that older buildings will also be cleaner and safer when  
14 renovated.

15           Fourth, we urge you to adopt an all-electric  
16 building code starting in 2022. Over 30 California cities or  
17 counties have passed reach codes that exceed state standards  
18 in response to their communities' concerns about climate,  
19 health, and safety. We ourselves have spent countless hours  
20 writing to our council members and supervisors, speaking at  
21 city council meetings, and writing letters to the editor. You  
22 could save us, the city, and the county staff countless  
23 valuable hours if you would go ahead and adopt the baseline  
24 statewide code requiring that all new construction be all  
25 electric. The technology is there. We need you to insist

1 that we build with it.

2           Please don't delay. Our children will be living,  
3 studying, and working in these buildings for decades to come.  
4 We owe it to them to ensure that their homes, schools, and  
5 workplaces are as safe and healthy as possible and that  
6 they'll have a habitable planet to live on.

7           Thank you very much for listening to this comment  
8 and for your workshop today.

9           MR. STRAIT: Thank you very much.

10           Yes? Go ahead. Payam, it sounded like you were  
11 going to say something?

12           MR. BOZORGCHAMI: No, no. I just unmuted Tim  
13 Carmichael.

14           MR. STRAIT: Yes, please state your name and  
15 affiliation. Tim re-muted themselves.

16           MR. CARMICHAEL: Can you hear me now?

17           MR. STRAIT: Yes, yes, we can.

18           MR. CARMICHAEL: Good. Good afternoon. I'm Tim  
19 Carmichael. I'm with Southern California Gas Company. I  
20 wanted to first start by thanking you for the opportunity to  
21 comment on the important work being done on improving indoor  
22 air quality in California homes. I also want to thank the  
23 presenters and the CEC staff for all your work to bring today  
24 together and to Commissioner McAllister for hosting a workshop  
25 on this important issue.

1           Several speakers today recommended improved  
2 ventilation, new requirements around ventilation, and more  
3 efforts to get people to use ventilation systems that they  
4 have installed. It was good to hear the experts note that  
5 appropriate ventilation improves indoor air quality by  
6 removing multiple pollutants and, therefore, has multiple  
7 health benefits for Californians.

8           I want to key on one of the details which I believe  
9 was flagged in a slide from Brett Singer, and that's the  
10 massive number of existing houses and apartments in  
11 California. We have to think about how we can improve  
12 ventilation in these pre-2009 homes and apartments. SoCal Gas  
13 and other California utilities have a variety of customer  
14 programs to advance weatherization and install more efficient  
15 appliances in homes. In low-income communities, we have  
16 programs to evaluate homes and repair or replace appliances  
17 that are not working properly.

18           As CEC staff member Susan Wilhelm noted in her  
19 presentation, ventilation retrofits can have a significant  
20 improvement on indoor air quality. We would like to partner  
21 with the Energy Commission to look at how we might be able to  
22 expand these efforts to improve ventilation in already-built  
23 homes and apartments to improve indoor air quality.

24           There's been a lot of important information  
25 discussed during this workshop. SoCal Gas will be providing

1 additional written comments to the docket.

2 Thank you, again.

3 MR. STRAIT: Thank you, Tim.

4 And as a note, I know I mentioned a staff  
5 presentation. We didn't want to get in front of folks with  
6 prepared statements. So at the end of this, after we're done  
7 taking public commentary, I'll present that material just to  
8 help to assist people in providing written comments they might  
9 want to submit after the workshop.

10 So next up is Tom Phillips. Tom, please state your  
11 name and your organization, if any.

12 MR. BOZORGCHAMI: Tom, you're going to have to  
13 unmute your name -- yourself, sir.

14 MR. PHILLIPS: Am I unmuted?

15 MR. STRAIT: There we go.

16 MR. PHILLIPS: Okay, hi. Yeah, thanks for hosting  
17 this great workshop and addressing this important issue and  
18 getting together so many experts. I just wanted to also just  
19 briefly summarize some written comments and a quick background  
20 summary. I've worked on indoor environmental quality for  
21 several decades at the Energy Commission and then the Air  
22 Resource Board and developed indoor air quality guidelines for  
23 combustion pollutants and then as a volunteer and consultant,  
24 and have helped develop indoor air quality guidelines for  
25 green building programs and for community-based type

1 organizations and now including range hood -- best practices  
2 for range hoods. So I've closely followed a lot of the key  
3 research and have worked on some of the related research as  
4 well as legislation.

5           So with that background, I just wanted to summarize  
6 my written comments that I submitted. First off, it's great  
7 that we've got the environmental health and IAQ experts  
8 together, but it should have been done at the beginning of the  
9 process rather than towards the end of the rulemaking process.  
10 So hopefully, you know, we will learn that lesson and correct  
11 it. Also, we need to bring in input early from the community-  
12 based organizations, your environmental justice and  
13 disadvantaged community groups.

14           In terms of technical type comments, in rough order  
15 of importance -- I haven't seen the updated revised version of  
16 the CASE report, so I see some improvements there, and I've  
17 had some discussions with them, so take some of this with a  
18 grain of salt, but I mainly want to address a few key things.  
19 One is that this is a new standard for industry for  
20 manufacturers, for builders, designers, for homeowners, and so  
21 on, so there's probably going to be some confusion and  
22 inertia, so I think it's really important to do a real  
23 aggressive effort on training, on outreach, on getting  
24 guidance in the compliance manual. And also getting a lot of  
25 the best practice information into CALGreen because it's not

1 something that, you know, fits into a minimum standard and  
2 that can be easily enforced necessarily, but it's other things  
3 where we can do much better than Title 24, and CALGreen should  
4 have incentivized that.

5           For example, you know, a lot of hoods probably have  
6 better -- we can get better capture efficiency and noise and  
7 so on than some of the minimum standards that are being  
8 required, so we really need to create the market demand and  
9 then the infrastructure to implement that properly because,  
10 otherwise, we could have a rash of poorly designed and  
11 installed range hoods and nobody will be happy.

12           Some other key points. I request that you require  
13 product labeling of not only the Title 24 requirements on the  
14 hoods or exhaust systems for capture efficiency and noise, but  
15 then what the product is actually rated at so anybody can go  
16 in and see just how good this stove is compared to the  
17 standard and create some demand for better products that way.

18           A few issues that I'm not sure have been addressed  
19 yet. One is more specifics on duct design, more details to  
20 reduce pressure and flow problems and reduce grease buildup.  
21 And so that's pretty commonly done and that's pretty  
22 straightforward.

23           Also, measures to specifically achieve certain  
24 depressurization limits to avoid back-drafting, naturally  
25 vented combustion appliances. It only takes a couple pascals

1 to depressurize water heaters, for example, gas water heaters  
2 that are naturally ventilated. So I'm not sure that the CMC  
3 requirements that were mentioned today will do that, so that  
4 needs to be verified and suggested some other approaches that  
5 other states have used.

6           Let's see. Depressurization. There's various other  
7 guidance that should be in the training and compliance  
8 documents. Also things like hood depth and width and coverage  
9 and so on and minimum height that were mentioned earlier  
10 today. And there's, you know, best practice guidelines out  
11 there. The HVI has guidelines and so on and manufacturers  
12 have recommendations. So we need to provide some clear  
13 guidance there. And, similarly, guidance for island and  
14 peninsula installations because those require higher flows and  
15 wider hoods and so on.

16           And then wall ovens haven't really been mentioned,  
17 but they can be a significant emission source, and they  
18 haven't been vented for decades, but it is feasible, I think,  
19 to interlock them with a nearby range or ceiling exhaust or  
20 something. And so that should be considered, especially when,  
21 you know, people are using them a lot you can have prolonged  
22 periods of pollution indoors.

23           And I think that's probably about it other than we  
24 need to look maybe more carefully at some of the modeling  
25 assumptions that went into, say, burner emission rates and

1 ventilation rates and things like that and make sure we're  
2 really addressing some of the worst-case situations as we  
3 protect some of the more sensitive populations, especially,  
4 say, in lower income households.

5 And that's it, I guess. Thank you very much.

6 MR. BOZORGCHAMI: Thank you, Tom.

7 MR. STRAIT: Thank you very much.

8 MR. BOZORGCHAMI: Next is Christine James.

9 MR. STRAIT: Yes.

10 MR. BOZORGCHAMI: State your name and your  
11 affiliation. Thank you. And unmute yourself.

12 MS. JAMES: Hello, everyone. Thank you so much for  
13 the opportunity to speak today. My name is Christine James.  
14 I am an allergist immunologist by (indiscernible)  
15 representative of Climate Health Now, an organization of  
16 health care professionals who recognize climate change as a  
17 public health emergency.

18 In my field, pollutants like nitrogen dioxide are  
19 particularly detrimental for my patients. I take care of  
20 patients with respiratory diseases like asthma and COPD, and  
21 their growing exposure to pollution makes it more difficult  
22 for them to manage their diseases on a day-to-day basis. Many  
23 of them are very much aware of outdoor air pollutants.  
24 However, they are not necessarily aware that indoor pollution  
25 from sources such as gas stoves emit pollutants like nitrogen



1 dioxide or particulate matter 2.5, which can irritate their  
2 airways and worsen their control.

3           For my patients who live in lower income communities  
4 in which old gas stoves without ventilation are used  
5 frequently, I see increased symptoms like cough, wheezing, and  
6 I find myself prescribing more and more inhalers which can be  
7 difficult in terms of cost and to their own fatigue in having  
8 to keep track of their medications. And these pollutants  
9 affect both children and adults. No age group is really  
10 spared. And in speaking to the disproportionate burden of  
11 these pollutants on African-American and Hispanic communities,  
12 this is particularly troubling to me as these are also the  
13 groups that face the highest burden of asthma.

14           I've already seen that my prescriptions can only go  
15 so far in terms of treatment. If our patients are constantly  
16 exposed to the triggers that worsen their diseases, then we  
17 will never manage to get ahead of their health issues. This  
18 is why investing our efforts into initiatives such as setting  
19 new guidelines for nitrogen dioxide concentrations and new  
20 ventilation standards is so important. We need to take a  
21 multipronged approach that addresses the long-term management  
22 of their disease, which includes acknowledging and addressing  
23 the environmental changes we must make. Thank you very much.

24           MR. STRAIT: Thank you.

25           MR. BOZORGCHAMI: Thank you, Christine.

1           Matt Pakucko (indiscernible). Please state your  
2 name and your affiliation. And you need to unmute yourself.  
3 Sorry.

4           MS. HIBINO: Hi, can you hear me?

5           MR. BOZORGCHAMI: Yes.

6           MS. HIBINO: Actually, my name is Kyoko Hibino. I'm  
7 sorry the name was, kind of, wrong.

8           MR. BOZORGCHAMI: Oh, no worries.

9           MS. HIBINO: But good afternoon. My name is Kyoko  
10 Hibino. I am a cofounder/director of Save Porter Ranch. Save  
11 Porter Ranch is a local grassroots organization with mission  
12 to protect, preserve, enhance the communities from the impact  
13 of gas and oil operation by building community awareness. In  
14 2015, our communities faced worst gas blowout in U.S. history  
15 from Southern California Gas Company's Aliso Canyon Gas  
16 Storage Facility in San Fernando Valley out of Los Angeles.  
17 Twenty-three thousand people evacuated. We are exposed to not  
18 only methane gas but chemicals including benzene,  
19 formaldehyde, crude oil, and many more toxic chemicals which  
20 is not disclosed. Few times we are advised to stay inside of  
21 the house to avoid getting oily residues spilled in the  
22 community for the effort to stop the blowout which was not  
23 successful.

24           The community, including me, suffered headache,  
25 nosebleed, cough, rashes, respiratory issues, heart

1 palpitation, and many more from the gas blowout. It is known  
2 that facility has been leaking and emitting for decades, and  
3 it is still leaking. Many residents developed asthma, heart  
4 issues, we have a cancer cluster, layer type of cancer, the  
5 cancer without family history. It became public health  
6 crisis.

7           Since we exposed to the chemicals constantly for  
8 long time living next to the gas facility, now we became  
9 sensitive population. We know what gas does to our health as  
10 environmental justice communities. Due to higher prevalence  
11 of existing conditions such as asthma, we are more vulnerable  
12 to harm resulting from pollution exposure once we become  
13 exposed.

14           Outdoor air quality in our neighborhood is not good  
15 as long as this canyon facility is operating. It is crucial  
16 to be able to breathe clean air at least inside our home for  
17 our wellbeing. A recent finding in a study is shocking. The  
18 fact that we not only exposed to the gas, chemicals,  
19 carcinogens outdoor, but we exposed nitrogen dioxide, carbon  
20 monoxide, formaldehyde in our home by cooking on a gas stove  
21 burning the same gas we are poisoned and causing two to five  
22 times, sometimes hundred times higher than the outdoor air  
23 pollution level exceeding EPA's standard outdoor guideline.

24           Gas stove pollution should not be ignored or  
25 downgrade. The problem is we don't have any regulation for

1 indoor air quality. Indoor air quality is so under-looked in  
2 the building and energy code. CEC has a statutory mandate to  
3 address indoor air quality when developing its building energy  
4 efficiency. We need more stringent guideline for indoor air  
5 pollution measurement for carbon monoxide and the nitrogen  
6 dioxide. The current standard of 100 PPB of nitrogen dioxide  
7 should be updated to current data when the health effect  
8 (indiscernible) for asthmatic children with exposure to as  
9 little as (indiscernible) PPB of nitrogen dioxide indoors.

10 CEC should align its ventilation standard with the  
11 most up to date and the most protective indoor quality  
12 guidelines issued by air quality regulators. CEC should set  
13 ventilation standard to reduce nitrogen dioxide pollution  
14 (indiscernible) threshold that protect public health for most  
15 sensitive population.

16 Nonetheless, CEC should put regulation to ban gas  
17 stove hookup in the new construction for 2022 code cycle. The  
18 study says it aimed to move to all-electric new construction  
19 until next cycle with the result in additional 3 million tons  
20 of carbon emission by 2030. It is not the time to argue  
21 whether people like gas stove or not. It is a must to protect  
22 public health. Thank you so much.

23 MR. STRAIT: Thank you very much.

24 Our next commenter is Kevin Messner. Kevin, please  
25 state your name and your affiliation.

1 MR. MESSNER: Yes, thank you. This is --

2 MR. STRAIT: Something just happened to cut off  
3 Kevin's audio. Let me click this button.

4 MR. BOZORGCHAMI: Let me -- there we go.

5 MR. STRAIT: Sorry about that. I don't know what  
6 happened.

7 MR. MESSNER: Okay. No problem. That's all right.  
8 Just as I said my name it's, like, cut him off. Yeah.

9 This is Kevin Messner. I'm with the Association of  
10 Home Appliance Manufacturers. We represent manufacturers of  
11 range hoods and we also represent manufacturers of air  
12 cleaners, I wanted to mention as well.

13 So I wanted to make just a general statement on this  
14 issue largely. We want to be part of the discussion on indoor  
15 air quality and venting, and we've done that for many years  
16 with air cleaners at CARB, I think, in a very good way for  
17 everyone. And then there are some really good discussions  
18 that are happening on a technical level at ASHRAE on the  
19 proper ventilation for cooking. And again, we're happy to  
20 participate in that and want to participate in that and have  
21 been actively involved with this well before this workshop.

22 But I also wanted to speak to one other thing. I'll  
23 have another technical (indiscernible) is this -- and I'll  
24 just call a spade a spade -- the politicization of this issue  
25 or the, I guess, the overlay of this issue or the

1 electrification advocacy effort and using this issue to scare  
2 people -- and I say scare people -- that indoor cooking is  
3 unsafe. And I just want to be sure that everyone knows that  
4 there are indoor air quality limits set for health and safety  
5 reasons in Canada. There are outdoor limits set in the U.S.  
6 by EPA. And if these levels aren't safe and aren't healthy,  
7 then people should be discussing those. But if they are, and  
8 the indoor air is within those limits, then let's not state  
9 that things are unhealthy. And having reports that are  
10 supposedly reports like the RMI report that really is out of  
11 hand and uses peak values to scare people when, instead of  
12 average values, is not helpful to this debate. So we find  
13 that very disconcerting, and I wanted to put on the record  
14 that if people want to work on this issue, let's work on it.  
15 But if there's electrification advocacy efforts, let's divorce  
16 that from this.

17           Now, on the technical thing, also related to this,  
18 is the building codes should focus on ASHRAE consensus  
19 standards that have been approved. And I did want to mention  
20 the example like the nominal installed flow. That has not  
21 been approved, and CASE was, I think, recommending to move  
22 forward with that, but we would advise against that. We don't  
23 want to start using standards that are not approved by ASHRAE  
24 62.2 and insert them in the building codes. That's not a good  
25 way to proceed. So I will end with those comments and

1 appreciate the time.

2 MR. BOZORGCHAMI: Thank you, Kevin.

3 Wendy, I'm going to unmute you. And please state  
4 your name and your affiliation after you unmute yourself.

5 MS. RING: Hi. Thanks for the chance to share my  
6 thoughts with you today. My name is Wendy Ring. I'm a family  
7 doctor with a Master's Degree in Public Health and the  
8 director of Climate 911. As a doctor, I spent 30 years taking  
9 care of poor people, and much of my work on climate is about  
10 air quality and impacts of climate change and fossil fuels.  
11 You've heard about numerous studies about the health harms of  
12 gas stoves.

13 I want to tell you a personal story. I produce a  
14 podcast called *Cool Solutions* about climate action from the  
15 bottom up. Two years ago, I did an episode about Sonoma Clean  
16 Powers Program bundling rebates so that people rebuilding  
17 after the 2017 fires could have all-electric, zero carbon  
18 homes. As part of my background research, I read the study  
19 about gas stoves and indoor air pollution done by Lawrence  
20 Berkeley National Lab, Stanford Department of Environmental  
21 Engineering and San Diego State University of Public Health,  
22 and I interviewed Dr. Singer.

23 In our home, for many years, we had a beautiful  
24 antique gas stove with no ventilation hood. And if it had had  
25 one, I would have used it rarely. Before reading that study,

1 I knew that acute exposure to nitrogen dioxide causes and  
2 exacerbates childhood asthma and increases hospitalizations  
3 and deaths from cardiovascular disease. What I didn't know  
4 was that 50 to 70 percent of homes with stoves like ours have  
5 indoor nitrogen dioxide levels which regularly exceed national  
6 air quality standards, exposing 12 million Californians every  
7 year with people cooking and young children having the highest  
8 levels of exposure.

9           During the time that we had that gas stove, as a  
10 working single mom, my young son played around my feet as I  
11 prepared meals. He developed asthma. When I got married, my  
12 husband took over the kitchen. He had a heart attack and  
13 developed severe heart failure. Of course, after reading the  
14 Berkeley National Lab study, I wasted no time getting rid of  
15 that old stove and buying an induction range.

16           But most of the people with unventilated gas stoves  
17 are not like me. They're more like my low-income patients who  
18 live crowded into small apartments where cooking is more  
19 frequent, concentrations of indoor pollutants are much higher,  
20 people are much closer to the kitchen, and more have asthma  
21 and risk factors for cardiovascular disease. Environmental  
22 injustice occurs indoors as well as out, and a just solution  
23 must include retrofits of existing housing.

24           So what is the solution? Better range hoods are not  
25 enough since 70 to 85 percent of those who have them don't use



1 them regularly. Education by a builder doesn't last beyond a  
2 change of occupants. And if I, with all my degrees, didn't  
3 know how to keep my family safe, I doubt more education is the  
4 answer.

5           The most effective measures to protect public health  
6 don't rely on changing individual behavior. John Snow, the  
7 father of public health, didn't tell people not to drink from  
8 the pump contaminated with cholera. He removed the handle.  
9 Automatic ventilation of gas stoves doesn't remove the whole  
10 handle. Vented gas stoves would still pump pollutants into  
11 outdoor air causing 12,000 deaths in California every year.  
12 Fugitive natural gas emissions with global warming power 80  
13 times greater than carbon dioxide would still drive climate  
14 change, worsening air quality indoors and out.

15           Stanford researchers estimate that each day of  
16 wildfire smoke causes 1,000 elder deaths and 1600 emergency  
17 room visits, and that's not all from being outdoors. In  
18 northern California where we don't have central air  
19 conditioning and in low-income households around the state  
20 without central air, particulate levels with windows closed  
21 are 64 to 80 percent of outdoor levels. With AQIs in the red  
22 and purple zone, that's really dirty indoor air. Add a heat  
23 wave, and if we open our windows to cool off as I longed to do  
24 the other night, indoor particulates rise to 80 to 95 percent  
25 of outdoor levels.

1           To protect indoor air quality, we must stop burning  
2 natural gas. You can't separate causation from happenstance  
3 with a sample size of two. I'll never know if my son got  
4 asthma or my husband lost half his heart function because of  
5 our gas stove, but if you take the handle off the pump by  
6 requiring that new homes have electric stoves and eliminate  
7 the exposure my family experienced for 12 million  
8 Californians, you'll save tens of thousands of lives every  
9 year. You've made great strides toward homes that run on  
10 clean electricity. Now, please make sure they're equipped  
11 with clean electric appliances. Thank you.

12           MR. BOZORGCHAMI: Thank you, Wendy.

13           Lauren Cullum, I'll unmute you. Please state your  
14 name and affiliation, too, also. Sorry about that.

15           MS. CULLUM: Yeah, you're fine. Hi, this is Lauren  
16 Cullum with Sierra Club California representing 13 local  
17 chapters --

18           MR. BOZORGCHAMI: Sorry about that. That was me.  
19 Sorry.

20           MS. CULLUM: Can you hear me?

21           MR. BOZORGCHAMI: Yes. Apologize.

22           MS. CULLUM: Did you get my name and affiliation at  
23 least?

24           MR. BOZORGCHAMI: Would you please state it one more  
25 time? I'm sorry.

1 MS. CULLUM: You're fine. Lauren Cullum, a policy  
2 advocate with Sierra Club California. And I'm here  
3 representing 13 local chapters in California and half a  
4 million members and supporters throughout the state. I'd like  
5 to thank you for putting together this workshop on what we see  
6 as an incredibly important issue, especially right now as  
7 Californians are spending more time inside their homes to  
8 protect themselves from COVID-19 infection and hazardous air  
9 pollution caused by wildfires. And I'd like to thank you for  
10 including voices today from the public health community and  
11 air quality regulators and experts.

12 As we know, gas appliances produce a range of air  
13 pollutants linked to both acute and chronic health effects,  
14 including respiratory and cardiovascular illness and premature  
15 death. And stoves and ovens are the gas appliances that  
16 contribute most to indoor air pollution since they are not  
17 typically vented outdoors like water heaters and furnaces. So  
18 we really appreciate the agencies working together and with  
19 experts to address this issue and strongly support the  
20 proposal to set ventilation standards that specifically  
21 address the air pollution from gas stoves. These new  
22 standards are well supported by scientific evidence and vital  
23 to protecting public health.

24 As a panelist noted today -- but I think it's worth  
25 bringing up again -- research shows that after cooking for one

1 hour with a gas stove and oven, peak levels of nitrogen  
2 dioxide inside the kitchen are so high that they exceed both  
3 state and national outdoor acute air quality standards.  
4 Studies have found that 12 million Californians are regularly  
5 exposed to levels of nitrogen dioxide from gas stoves that  
6 would violate the national ambient air quality standards.  
7 This means that the air quality inside our homes is so bad  
8 that it would be illegal if measured outside. And inhaling  
9 these levels of NO<sub>2</sub> is extremely dangerous. Evidence has  
10 shown that gas stoves and nitrogen dioxide pollution can  
11 increase the risk of asthma, especially for children and the  
12 elderly.

13           And there is an equity component here that must be  
14 prioritized. Low-income communities and communities of color  
15 are at high risk of harm from the NO<sub>2</sub> pollution associated  
16 with gas stoves. Housing characteristics that are more common  
17 in low-income communities such as smaller unit sizes and  
18 inadequate ventilation contribute to higher levels of NO<sub>2</sub>  
19 pollution in homes when a gas stove is used. Add that onto  
20 the fact that these communities are already experiencing  
21 cumulative impacts of systemic environmental injustice and  
22 racism. The poor indoor air quality exacerbates the health  
23 and economic burden these communities are already facing, so  
24 we urge the CEC to take this into consideration when  
25 developing building standards, including ventilation

1 standards.

2           Last point I'd like to make is that we agree that  
3 more stringent ventilation standards are needed to protect the  
4 health of Californians, but we also learned today that range  
5 hoods aren't being used routinely and they aren't a perfect  
6 fix to the problem, especially considering most people still  
7 prefer to cook on the front burners. Switching to electric  
8 cooking appliances such as induction stoves would help ensure  
9 that we are truly eliminating the pollutants from fuel  
10 combustion during cooking.

11           Building electrification is a solution to not only  
12 reducing greenhouse gas emissions but also protecting the  
13 health of Californians, especially the most vulnerable and  
14 sensitive populations. Phasing out polluting gas appliances  
15 to highly efficient electric alternatives for heating and  
16 cooking will lower NOx pollution, prevent 350 premature deaths  
17 annually, and produce \$3.5 billion in annual health benefits.

18           To conclude, we urge the CEC to ensure that  
19 ventilation standards reflect the latest science and are  
20 sufficiently stringent to protect the public health of all  
21 Californians. And we also urge the CEC to continue to work  
22 with air quality and health experts and agencies like CARB to  
23 design building standards that prioritize the health and  
24 safety of Californians such as an all-electric baseline for  
25 the 2022 code. Thank you so much.

1           MR. BOZORGCHAMI: Thank you, Lauren. And sorry  
2 about the mess up.

3           MR. STRAIT: We did it to the other guy; now we've  
4 got to do it to everyone, right?

5           MR. BOZORGCHAMI: Mr. Williams, I'm going to unmute  
6 you.

7           MR. WILLIAMS: Okay. I'm Ted Williams. Can you  
8 hear me okay?

9           MR. BOZORGCHAMI: Perfect. Thank you, sir.

10          MR. WILLIAMS: I'm Ted Williams. I'm senior  
11 director of codes and standards for the American Gas  
12 Association. I have been working in indoor air quality  
13 related to gas appliances, and I've been in gas appliances in  
14 particular over 34 years, including I've worked with the U.S.  
15 Consumer Products Safety Commission both on vented gas  
16 heaters, space heaters, and also gas cooking products. At the  
17 time of the gas cooking product looking at carbon monoxide  
18 specifically. I also am a member of the ASHRAE Standard 62.2.  
19 I've been a member of that organization since the year 2000.  
20           We're coming at this issue from outside looking in.  
21 We're a national organization looking at California policy.  
22 We rely on our members such as SoCal Gas to argue or advocate  
23 its interests within the state of California. However, I am  
24 struck by the discussion today particularly by health effects  
25 and how insular this discussion is with respect to certain

1 data and studies that don't agree with what's going on  
2 federally.

3           We monitor regularly the activities of Federal  
4 Interagency Committee on Indoor Air Quality. That's some 26  
5 federal agencies chaired by U.S. EPA Indoor Air Quality  
6 Program. They do not see the same relationship with these  
7 products, these cooking products, and emissions of nitrogen  
8 dioxide or other products of combustion and health effects.  
9 They are monitoring this work. They are aware of the RMI and  
10 the Sierra Club, their reporting activities. However, there  
11 is no active effort among the federal agencies to look at  
12 further issues, particularly with respect to asthma.

13 (Indiscernible) participant in the asthma, whether or not it's  
14 put on by the CIAQ, various regions of the U.S., that look at  
15 all manner of asthma triggers and sensitive populations, low-  
16 income populations, and asthma rates are -- contribute over  
17 various sources.

18           In no case have I seen any recent accounting for  
19 combustion emissions from unvented appliances and specifically  
20 in this case food products as being associated with those  
21 kinds of issues. And so, you know, I'm not going to preach  
22 from Washington, D.C., where AGA is located, on what  
23 California should do, but I think that California certainly  
24 should be looking at what's going on federally. And if RMI  
25 and Sierra Club believe that this is such an issue for

1 national health, they ought to be advocating to those federal  
2 agencies for control, in particular, the U.S. Consumer  
3 Products Safety Commission.

4           Now, there have been some correspondence with CPSC  
5 regarding that they should maybe look at gas ranges, but there  
6 has been no proposal for a Consumer Protection Act regulation  
7 of those products, and that's a serious shortcoming in trying  
8 to protect public health, particularly coming from  
9 organizations who are first and foremost interested in  
10 electrification for climate concerns, who have (indiscernible)  
11 onto indoor air quality as being sort of a soft spot in the  
12 issue of the correct use of natural gas.

13           I'll also mention that we have some serious concerns  
14 with the source of a lot of these calculations with respect to  
15 increased fatality rates, as going back to the emission rates  
16 from the appliances themselves and the statements about NO<sub>2</sub>,  
17 in particular, exceeding national outdoor standards and the  
18 source rates that produce those estimates. And Dr. Singer's  
19 work is the specific source of that kind of information and  
20 that commentary is (indiscernible) various Lawrence Berkeley  
21 National Laboratory public releases.

22           Our concern, frankly, is that we don't have a robust  
23 view of what is coming out of -- and the combustion emissions  
24 from these products and that has really been published in a  
25 transparent way. And to that need, to develop that



1 information, we're currently putting together a program which  
2 should be in the month of October to test gas ranges  
3 operating both on natural gas and propane and looking at five  
4 pollutants: carbon monoxide; nitrogen dioxide; PM, ultrafines,  
5 and 2.5; formaldehyde; and, as an addition, krinolin (ph.) as  
6 a potential species of volatile organic compounds which we  
7 don't expect to find but, nevertheless, the (indiscernible) to  
8 take a look and see if we find anything.

9           This program is being put together with funding from  
10 American Gas Association, the Association of Home Appliance  
11 Manufacturers, who Mr. Messner, an earlier commenter,  
12 represents. We're looking at three additional industry  
13 associations for potential funding. We've contacted three  
14 testing laboratories to bid on the work. The project -- the  
15 criteria for those bidders is to either have a status as  
16 nationally recognized testing laboratories as recognized by  
17 the U.S. Department of Commerce, or industry experience in  
18 testing these products, or both qualifications. Nevertheless,  
19 we're awaiting bids from those organizations.

20           And essentially what we're doing and planning to do  
21 in the scope of work is to continue the tests on the operation  
22 of residential gas cooking appliances operating both on  
23 natural gas and propane to measure those five compounds.  
24 We're also looking at doing whatever we can within the scope  
25 of the program and the sampling (indiscernible) to develop air

1 free data, that is, data on combustion emissions absent the  
2 (indiscernible). And so that is more directly supportive of  
3 modeling work that can be done to look at different  
4 configurations of kitchens and occupancies, sizes, and the  
5 like.

6           So, anyway, that work is going to go ahead. Our  
7 target is to complete that work by the end of the calendar  
8 year, to publish that work. AGA has a separate effort  
9 underway and discussions with National Institute of Standards  
10 and Technology, NIST, to design and develop a modeling program  
11 that's all through different configurations of (indiscernible)  
12 to essentially -- sort of the same scenarios but  
13 (indiscernible) in terms of adjacent occupancies, rooms and  
14 the occupancy.

15           So anyway, that's where we're going on this, and we  
16 hope to find at least for the industry for the first time to  
17 develop the information and data that's publicly available and  
18 transparent for the use of other researchers for decision  
19 making. But we see that as the first step and -- first  
20 principles for looking at this issue in terms of exposures  
21 because in our review, for example, the Sierra Club report  
22 which covers a number of issues -- the Sierra Club  
23 (indiscernible) UCLA School of Public Health looked at it.  
24 And essentially 210 sources cited in the report referring to  
25 health effects and emissions related to indoor air quality.

1 And in all those -- we've reviewed them all. We find that we  
2 keep coming back to this issue about source rates for what the  
3 gas appliance actually produces. And we think that is where  
4 the industry needs to be having (indiscernible).

5 So anyway, that concludes my comments, and I  
6 appreciate the opportunity -- the Commission to put this  
7 workshop together and to give us a chance to hear our  
8 background and work. Thank you.

9 MR. BOZORGCHAMI: Thank you, Mr. Williams.

10 Next, Mr. Robert Gould. Please state your name and  
11 your affiliation. Yeah, I think you have to unmute yourself.  
12 There you go. Thank you.

13 MR. GOULD: Okay. I'm Dr. Robert Gould representing  
14 San Francisco Bay Physicians for Social Responsibility. Just  
15 as a little background, after working as a pathologist for  
16 over 30 years at Kaiser Hospital in San Jose, since 2012 I've  
17 been an associate adjunct professor in the Department of  
18 Obstetrics, Gynecology, and Reproductive Sciences at the UCSF  
19 School of Medicine, working as a collaborator with our program  
20 on reproductive health and the environment. I've been on the  
21 National Board of Physicians for Social Responsibility since  
22 1993, serving twice as the president in 2003 and 2014.

23 PSR, for which I'm speaking today, represents  
24 thousands of health professionals who speak for the health of  
25 our patients and communities who are increasingly impacted by

1 the current and unfolding public and environmental health  
2 impacts of global warming and the clearly connected issues of  
3 air pollution. Because of this, we support increased  
4 electrification of our infrastructure provided by renewable  
5 and sustainable non-nuclear sources as replacement for natural  
6 gas in support of climate, respiratory, and cardiovascular  
7 health.

8           As such, I'd like to thank the California Energy  
9 Commission for holding this important workshop on gas stoves  
10 and indoor air quality and setting an example for other states  
11 to deal with these largely hidden public and individual health  
12 issues. We at PSR hope you'll be able to follow this session  
13 with concrete actions to address a variety of issues I'll be  
14 addressing in brief, reinforced by the excellent presentations  
15 by many experts earlier today.

16           Beyond protecting climate health, our desire to  
17 replace the use of gas stoves stems from the fact that the  
18 combustion of gas inside our homes produces harmful indoor air  
19 pollutants, specifically nitrogen dioxide, carbon monoxide,  
20 nitric oxide, formaldehyde, acetaldehyde, and ultrafine  
21 particles. According to the EPA's 2016 Integrated Science  
22 Assessment on Nitrogen Dioxide, there was strengthening  
23 evidence of NO2's effect on the body, including a causal  
24 relationship between short-term exposure to NO2 and  
25 respiratory effects, with the EPA also finding that long-term

1 exposure to NO2 is likely to have a causal relationship  
2 regarding respiratory effects. These odorless and  
3 undetectable gas combustion pollutants are associated with  
4 acute and chronic respiratory diseases such as asthma, with  
5 African-American and Hispanic children with asthma likely  
6 being the most disproportionately burdened by indoor air  
7 pollution from gas stoves. Inequity of such impacts is  
8 reinforced by housing conditions whereby factors including  
9 smaller unit size, greater occupant density, and often  
10 inadequate stove top ventilation contribute to elevated  
11 concentrations of NO2 in lower income multifamily buildings.

12           And of course we need to consider the heightened  
13 impacts of outdoor air pollution suffered by these same multi-  
14 burdened communities.

15           Of additional note regarding impacts on children, a  
16 2013 meta-analysis looking at the association between gas  
17 stoves and childhood asthma found children in homes with gas  
18 stoves having a 42 percent increased risk of experiencing  
19 asthma symptoms or current asthma, a 24 percent increased risk  
20 of ever being diagnosed with asthma by a doctor or lifetime  
21 asthma, and an overall 32 percent increased risk of both  
22 current and lifetime asthma.

23           As well, a 2018 study published in the *Medical*  
24 *Journal of Australia* indicate that for 12.3 percent of asthma  
25 sufferers age 14 or younger in Australia, the condition was

1 triggered or worsened by exposure to gas stoves.

2           Given this increasing evidence of inequitably  
3 distributed harms caused by gas stoves, SF Bay PSR believes  
4 that while we move in California to increase sustainable and  
5 renewable electrification that CEC has a duty to set  
6 ventilation standards to ensure that our most sensitive  
7 populations are adequately protected, particularly at times  
8 when COVID and our extended fire seasons have kept so many  
9 indoors.

10           Our current standards of 100 parts per billion of  
11 NO2 is ten years old and needs to be reexamined in light of  
12 more current findings in the scientific literature. Resetting  
13 standards that could provide -- that could be more health  
14 protective of our population in line with new global standards  
15 such as developed by Health Canada could involve collaboration  
16 with CARB, including solicited impact from experts who have  
17 recently published on these issues.

18           In closing, I want to strongly second the very  
19 thoughtful comments expanding on the issues of public health  
20 and equity offered by my friend and colleague, Dr. Wendy Ring.  
21 Thank you for your time.

22           MR. BOZORGCHAMI: Thank you, Doctor.

23           We have one comment that came in to the questions  
24 and answers, and that's by -- I believe it's Michael Moore.  
25 And it says: CEC Staff, ASHRAE 62.2 has makeup air

1 requirements that are currently adopted by the state. There  
2 doesn't seem to be much awareness of this on the call.

3           So I believe there is, Mike, and I think Jeff Miller  
4 on our team has been overseeing and looking into that and is  
5 part of the ASHRAE 62.2 that's been dealing with that.

6           With that, there's one more presentation that is  
7 going to be given. That's going to be given by Peter Strait  
8 again. That is --

9           MR. STRAIT: Yeah.

10          MR. BOZORGCHAMI: Go ahead, Peter.

11          MR. STRAIT: Yeah. Before we do that, I'm going to  
12 go through the call-in only users to make sure none of them  
13 have comments they need to make. I can see the last three  
14 digits of each phone number, so I'm going to read the last  
15 three and then unmute that person and ask if they have a  
16 comment they would like to make. And you can simply say, no,  
17 that you're willing to move on or if you have something you  
18 want to put on the record.

19           So the first in this list is a phone number ending  
20 in 301. Do you wish to make a comment on the record? You are  
21 currently unmuted, I think. I'm sorry, I've enabled you to  
22 unmute. You can still unmute yourself.

23           Okay, I'm not hearing anything from that person.  
24 They are not unmuting.

25           So I will move to the next person. This is phone

1 number ending in 681. You are able to unmute yourself if you  
2 have a comment you would like to make.

3 All right, not hearing anything.

4 Someone is asking do they push something. I believe  
5 there is a key code for unmuting your line.

6 MR. BOZORGCHAMI: Star 6.

7 MR. STRAIT: Star 6.

8 And also, there is some police activity in the area,  
9 so there is a small chance that I might need to leave the call  
10 in a hurry. Otherwise, I do have a presentation to make to  
11 tee up the written comments that we want people to submit to  
12 us after the workshop.

13 Next up is a phone number ending in 066. If you  
14 have a comment you would like to make, then please unmute  
15 yourself.

16 (No response)

17 MR. STRAIT: All right. Next up is 009. If you  
18 have a comment to make, please unmute yourself.

19 UNIDENTIFIED: Thank you. No comment.

20 MR. STRAIT: Thank you.

21 Next up is a phone number ending in 472. I'm  
22 unmuting now. If you would like to make a comment, please  
23 unmute yourself.

24 (No response)

25 MR. STRAIT: Next up is phone number ending in 591.



1 I'm allowing you to talk. If you have a comment to make,  
2 please unmute yourself.

3 (No response)

4 MR. STRAIT: Last is phone number ending in 600.

5 I'm allowing you to speak. You can unmute yourself if you'd  
6 like to make a comment.

7 (No response)

8 MR. STRAIT: And actually, following that, there is  
9 someone identified as Call-In User 1. I'm going to also allow  
10 that person to talk. If you have a comment to make, please  
11 unmute yourself.

12 MR. STRAIT: Hearing nothing.

13 I'm going to share my screen so I can give a closing  
14 presentation, so just one moment here. Here we go. Share  
15 that.

16 So this is a quick presentation on the California  
17 Energy Commission's authority and options for setting improved  
18 standards, and this is given to benefit you in providing  
19 additional written comments following the workshop. First,  
20 the Energy Commission's authority to adopt standards is in  
21 statute. We are authorized and directed to reduce the  
22 wasteful, uneconomic, inefficient, or unnecessary consumption  
23 of energy by, among other measures, adopting building energy  
24 efficiency standards. And that's located in Public Resources  
25 Code Section 25402, if anyone is curious to crack the books on

1 that.

2 Two principles. First, energy spent on ventilation  
3 is necessary. That is absolutely a necessary use of energy.  
4 However, energy spent on ineffectual ventilation would be  
5 wasteful and inefficient. So that is where we find it within  
6 our purview to adopt standards.

7 Updating ventilation standards to an appropriate,  
8 necessary level falls within this authority and is consistent  
9 with statutory direction to consider indoor air quality  
10 impacts as a part of developing building standards.

11 The options that we consider for us to have an easy  
12 time adopting them need to fall within this authority. There  
13 are possible ways to do other things, but that is the easiest  
14 path for making an improvement.

15 In terms of criteria, staff has identified the  
16 following criteria as potentially shaping any proposed  
17 standard:

18 First, we want to know what rating metric that  
19 standard should be based on, meaning potentially basing it on  
20 the new ASTM capture efficiency metric or using an appropriate  
21 cubic foot per minute of airflow as a proxy for pollutant  
22 removal. That is a portion of information that is readily  
23 available and has already been certified to.

24 Second, we want to look at cooking energy source,  
25 meaning potentially making a distinction a standard we set

1 between natural gas and electric cooking equipment.

2 Dwelling size is a factor, meaning that we know we  
3 would like to or possibly appropriate to make a distinction  
4 between either single-family or multifamily dwellings or based  
5 on a square footage threshold.

6 And last is sone, which is potentially increasing  
7 the stringency of the maximum sound level requirements in  
8 addition to capture ability to address these concerns about  
9 usage of installed hoods.

10 To give a little more detail on each, first, for the  
11 rating metric, staff is aware that the amount of air moved by  
12 a kitchen range hood fan is only one factor in its ability to  
13 capture cooking pollutants and combustion gases.

14 ASTM Standard E3087-18 establishes a capture  
15 efficiency metric that takes a holistic look at the  
16 effectiveness of over-the-range devices in capturing and  
17 removing pollutants. This metric is proposed for inclusion in  
18 ASHRAE 62.2, though has not yet been added to that standard or  
19 adopted, as Kevin Messner mentioned, by some other broader  
20 industry standards. Most equipment has not yet been rated  
21 using this new metric as a result.

22 Staff is interested in hearing from stakeholders  
23 whether this new metric should be used as the basis for an  
24 updated standard, if, instead, a proxy CFM value should be  
25 used, or if both options should be available for installers

1 and for manufacturers.

2           The second criteria of energy source. We know that  
3 cooking released fine particulate matter that is known to be  
4 harmful to public health, as well as volatile organic  
5 compounds. Cooking using a combustion fuel such as natural  
6 gas additionally releases nitrogen oxides that can have  
7 immediate impacts such as triggering asthma in sensitive  
8 individual, as well as some quantity of carbon monoxide and  
9 other pollutants.

10           Staff need to consider a standard stringent enough  
11 to address all pollutants. However, a standard sufficient to  
12 protect against combustion byproducts may be overly stringent  
13 if it's applied to electric-only cooking.

14           Staff are therefore interested in hearing from  
15 stakeholders -- and I think we've gotten some of that feedback  
16 from the commenters that commented verbally -- on whether a  
17 separate, lower standard should be available for dwellings  
18 that do not provide natural gas or other combustion fuels for  
19 cooking.

20           The third criteria is size. The concentration of  
21 indoor pollution resulting from cooking relates directly to  
22 the total air volume of the indoor space. As noted in studies  
23 and by commenters, multifamily dwellings, which tend on  
24 average to be smaller than detached single-family dwellings,  
25 are therefore more likely to have more impacted indoor air

1 quality after what would otherwise be an identical cooking  
2 event.

3 Staff therefore needs to consider a standard  
4 stringent enough to address the worst case, these multifamily  
5 dwellings. However, a standard sufficient to protect smaller  
6 multifamily dwellings may be overly stringent if applied to  
7 larger single-family dwellings.

8 For this reason, staff is interested in hearing from  
9 stakeholders whether a separate lower standard should be  
10 available for single-family residences or for dwellings above  
11 a minimum size. And we've already seen in one presentation  
12 how we can break down different thresholds for different sizes  
13 of dwelling.

14 Finally, there's some. Staff is aware of research  
15 indicating that occupants can be inconsistent in the use of  
16 kitchen range hoods even if the equipment is available. One  
17 factor in the choice to use or not use an available hood is  
18 the noise the hood generates during operation.

19 The current requirement to be rated at no more than  
20 three sone at quote/unquote "working speed" is roughly  
21 equivalent to 43 decibels. And I want to say this is very  
22 roughly. But, nonetheless, that would be half the level of  
23 noise of an operating refrigerator or dishwasher. However,  
24 fans will be much noisier at higher speeds such as those  
25 needed to ventilate a large -- for example, a three burner

1 plus over -- cooking event.

2           Staff, for this reason, is interested in hearing  
3 from stakeholders whether a more stringent some limit should  
4 be considered alongside these improvements in capture  
5 efficiency.

6           Lastly, the action items that staff are taking away  
7 from this meeting and the action item for you. First, staff  
8 will follow up on this hearing by preparing a draft proposal  
9 to update kitchen ventilation and range hood requirements with  
10 consideration of the public record resulting from this  
11 hearing.

12           Staff will also host a future workshop to present  
13 that resulting draft regulatory language to stakeholders and  
14 the public.

15           And staff are hosting separate, additional workshops  
16 on the other proposed amendments to the California Energy  
17 Code, including workshops on other -- in improving our  
18 consideration of electric technologies and building  
19 approaches.

20           The action item for stakeholders and members of the  
21 public are asked to submit any additional written comments by  
22 October 16th, 2020.

23           And so I'm going to open it up for any final  
24 questions that folks have, but I'm going to do so with this  
25 information on the screen about how to submit your comments.

1 The easiest way to submit written comments to us is by  
2 submitting them to the 2022 pre-rulemaking docket which can be  
3 found at this link. And this is also where these  
4 presentations will be made available. If need be, you can  
5 also email comments to staff and ask us to assist you in  
6 docketing them, and we can do so. Note that comments directly  
7 to staff without direction to docket it will not be  
8 automatically docketed because we can't risk that someone is  
9 not intending for something to be a part of the permanent  
10 record or shared with the public, so we will need that  
11 clarification in order to do so.

12           With that, I will continue sharing my screen, but I  
13 will open the participants tab. Mike, I see you have your  
14 hand up again, so I'm going to allow you to speak.

15           MR. MOORE: Thank you, Peter, yes. Thank you for  
16 the opportunity to comment. And HVI certainly does want to  
17 provide comments on this, and I see the deadline is October  
18 16th. Part of being prepared for the comments or for  
19 providing informed comments would be getting that final case  
20 report. And I'm just wondering what the timing is for that so  
21 that the industry, you know, has time to review the case  
22 report and then provide comments on that? And if that will be  
23 within this window that we're looking at here and provide  
24 sufficient time?

25           MR. STRAIT: Payam, can you answer that? I'm

1 actually going to have to mute myself and hop off the call,  
2 though I will leave my screen sharing this information.

3 MR. BOZORGCHAMI: Sure. Mike, give me one second.  
4 I'm going to bring up --

5 MS. GOEBES: I can actually -- this is Marian. I  
6 can speak to that.

7 MR. BOZORGCHAMI: Yeah.

8 MS. GOEBES: So my understanding is that the  
9 draft -- I'm sorry, the final CASE report deadline is October  
10 14th. But, Mike, you bring up a good point that that doesn't  
11 leave much time between when comments are -- when the comment  
12 deadline would be until after the CASE report is published, so  
13 we can try and bump that up a little bit to give you a little  
14 bit more time between when comments would be accepted. We  
15 were trying to allow a little bit of time, as well, between  
16 the workshop and when that final CASE report would be  
17 published so that any comments provided during this workshop  
18 could also be incorporated in the final CASE report.

19 MR. BOZORGCHAMI: Yeah. So this is Payam again.  
20 Mike and others, there will be another workshop where we will  
21 be presenting the final stance where the Energy Commission is  
22 going to be proposing for the 2022, okay? And that one is,  
23 right now, currently scheduled for October 29th. So the CASE  
24 report will be posted a few days -- I shouldn't say a few  
25 days, excuse me -- a few weeks or if not earlier on our docket



1 so that you could review the final CASE report prior to the  
2 actual 2022 pre-rulemaking proposal. So this workshop is  
3 regarding the scientific information you've seen so far from  
4 Brett Singer from LBNL, Dr. Zhu from UCLA, and Marian Goebes.  
5 So if you have comments on those, you're more than welcome --  
6 or anything you've heard today -- you're more than welcome to  
7 submit your comment by the 16th. But the final CASE report  
8 will be posted way before the second staff -- or, actually,  
9 the first staff workshop for the 2022 pre-rulemaking. This is  
10 a commissioner workshop. So there's two different workshops  
11 for this topic.

12           COMMISSIONER McALLISTER: I wanted to just jump in  
13 real quick and resolve -- there have been a couple questions  
14 coming in. And at the beginning we said, and the notice  
15 actually says, that comments would be due on the 12th. And so  
16 here's it's -- we've pushed that back by four days, evidently,  
17 so that's fine. If there is an issue of this sequential  
18 nature and people really want to kind of get comments on the  
19 CASE report in sooner rather than later, they should feel free  
20 to submit them any time. But there will be multiple  
21 opportunities for comments with ample time to have a look at  
22 the CASE report. So just wanted -- so, for now, it's the  
23 16th, not the 12th, and I think we should put out a notice  
24 that lets the world know that. And then, afterwards, you'll  
25 see future opportunities for the workshop on the 6th and then

1 following later in October with the proposal itself. So just  
2 clarifying.

3 MR. MOORE: Thank you.

4 MR. BOZORGCHAMI: Thank you, Commissioner. Thank  
5 you, Mike. Since Peter is out right now dealing with other  
6 matters, any other comments or concerns?

7 MS. GOEBES: I did want to say, though, just -- this  
8 is Marian again in response to Mike's comment about not seeing  
9 the final CASE report. We have not made significant changes  
10 to the other measures, either the central ventilation duct  
11 ceiling measure which was not discussed today or the  
12 (indiscernible). You know, those are both pretty much the  
13 same as what you saw before. And then in terms of the range  
14 hood proposal, the meat of it is what you saw today. I called  
15 out a couple of the other, you know, minor things such as the  
16 reference to the CMC Section 7. There's also some new  
17 guidance in terms of requirements for builders to provide more  
18 education to the building resident or the owner to give to the  
19 building resident in the case of a multifamily unit. But what  
20 you saw today was, I think, the meat of it. So please do  
21 respond to that in terms of your comments.

22 MR. BOZORGCHAMI: Yes. And the sooner we get the  
23 comments, the better we are. Thank you.

24 Tom Phillips had a question, raised his hand. I'll  
25 unmute you. Please state your name and affiliation again.

1           MR. PHILLIPS: Hi, Tom Phillips, Healthy Building  
2 Research, Davis, California. In my written comments I also  
3 raised some issues about preventing contamination of outdoor  
4 air inlets for ventilation systems, especially, say, central  
5 ventilation systems for multifamily. There's a lot of field  
6 and modeling research to show that there can be significant  
7 contamination from outdoor sources such as nearby busy  
8 roadways and commercial businesses and industrial sources,  
9 construction sources, urban canyons. And then also there's  
10 guidelines out there from, I think, Seattle, New York. And  
11 then ASHRAE has some procedures to address these issues. And  
12 some of those guidelines and standards are based also on  
13 preventing vandalism and contamination from chemical,  
14 biological, or radiological releases and attacks. So there's  
15 a lot of fairly simple prevention that can be done in locating  
16 the air intakes away from roadways, upwind of sources, and  
17 also making them inaccessible to vandals and things like that.  
18 So that's another key way to cut the pollution off at the  
19 source in your building. And it's going to be a while before  
20 we get all electric cars and clean up all our other outdoor  
21 sources and wildfires, so in the meantime we need to think  
22 about the outdoor source control as well. Thank you.

23           MR. BOZORGCHAMI: Thank you, Tom, for the comment.  
24           Anyone else?

25           MR. BOZORGCHAMI: I believe, with that, I think

1 we're done for the day if there's no more questions or  
2 comments or concerns that's being raised.

3 Commissioner, would you like to say a few words?

4 COMMISSIONER McALLISTER: Yeah. I just wanted to  
5 thank you, Payam, Peter, the whole team, for putting together  
6 and orchestrating a really productive day. I think this has  
7 really been terrific. I mean, the substance and the  
8 collegiality and lots of strong opinions. And, you know, this  
9 is a really important issue and I know there are just a lot  
10 of -- just a lot of urgency to moving forward on this. And  
11 the towns we live in, you know, really are sort of traumatic  
12 in a lot of ways and so I really appreciate people taking time  
13 in their day thinking about this, putting together comments,  
14 basing them on the most cogent arguments possible, and just  
15 the quality of this discussion I'm really heartened by. And  
16 thanks for our sister agencies for being -- particularly  
17 ARB -- for being with us today. And really looking forward to  
18 reading everybody's comments.

19 But thanks, you all, for sticking with us until mid-  
20 afternoon. And with that, I think we have a lot to work with  
21 and looking forward to a really robust populated docket with  
22 all of your comments coming in and beyond that, future  
23 interactions with all of you as we dial in the proposal and  
24 move forward with the overall 2022 code update. So with that,  
25 I want to just say thanks again and take good care. And we

1 are adjourned.

2                   MR. BOZORGCHAMI: Thank you. Thank you,  
3 Commissioner. And also, please take note of the docket and  
4 please submit your comments, as Commissioner McAllister said,  
5 by October 16th. Thank you so much.

6                   (Whereupon, the Workshop was concluded at 5:26 p.m.)

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 14th day of October, 2020.

---

E. HICKS

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



October 14, 2020

ANGIE DURAY