

DOCKETED

Docket Number:	19-BSTD-03
Project Title:	2022 Energy Code Pre-Rulemaking
TN #:	235959
Document Title:	Transcript for 10-20-20 Public Workshop
Description:	This file is the transcript for the public workshop held on Octover 20, 2020.
Filer:	Peter Strait
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	12/16/2020 11:05:21 AM
Docketed Date:	12/16/2020

APPEARANCES

Panelists:

Payam Bozorgchami, Host
Haile Bucaneg, Co-Host
Michael Shewmaker, Co-Host
Peter Strait, Co-Host

Amber Beck
Alamelu Brooks
Kiri Coakley
Danuta Drozdowicz
Elizabeth McCollum
Cheng Moua
Simon Silverberg
Danny Tam
Will Vicent
Benjamin Zank

Attendees:

Daniel Arevalo
Amie Brousseau
JR Babineau
John Barbour
Howard Berman
Katherine Berry
Scott Blunk
Joe Boros
Joseph Briscar
Joe Cain
Matt Chalmers
Cathy Chappell
Mimi Cheung
Chadwick Collins
Marc Connerly
Brent Crenshaw
Kelly Cunningham
Eric DeVito
Erica DiLello
Sid Dinwiddie
Heather Estes
Rebecca Everman

APPEARANCES, continued

Attendees:

Dan Feld
George Fischer
Mike Fischer
Helene Hardy Pierce
Steven Hatch
Martha Helak
Reed Hitchcock
James Kemper
Stephanie Kiriazes
Matthew Kozuch
Joe Kravetz
Paul Lavallee
Stephanie Kiriazes
Matthew Kozuch
Paul Lavallee
Yang Liu
Andrew Mammoli
David Mann
Jon McHugh
Jonathan MacBride
Shar Moaddeli
Luke Morton
Shawn Mullins
Luke Nolan
Jennifer ONeal
Jenny Oblock
Luke Nolan
Jenny Oblock
Tom Paine
Nate Redinbo
Curt Rich
Helen Sanders
Sarah Schneider
Eric Shadd
K. Sosinski
Bryan Stanley
Dan Varvais
Heidi Werner
John Woestman

I N D E X

Proceedings	Page
Items:	
1. Introductions/General Information:	5
2. Nonresidential High-Performance Envelope Proposals for 2022:	14
3. Roof Alterations:	26
4. Fenestration:	33
5. Updates to the RSHGC Equation:	39
6. Opaque Envelope:	43
7. Simplifying the Hotel/Motel Envelope Requirements:	47
8. Adjournment:	53
Reporter's Certificate	54
Transcriber's Certificate	55

P R O C E E D I N G S

1
2 OCTOBER 20, 2020 9:05 o'clock a.m.

3 MR. BOZORGCHAMI: Hello, everyone. My name is
4 Payam Bozorgchami. I'm the Project Manager for the 2022
5 Building Energy Efficiency Standards. I want to welcome you
6 to the Energy Commission's Virtual Pre-Rulemaking Workshop
7 being held virtually here at the Energy Commission.

8 Let me provide you with some housekeeping rules.
9 We will be muting everyone. And after each proposed measure
10 is presented, we will stop it and allow people to raise
11 their hand and we'll unmute you. And you can ask your
12 question or express your concerns. And you can also submit
13 your questions in the Question and Answer box with the
14 program. We will answer questions as they come in.

15 Also, if you are participating by phone, you can
16 use the star 9 to raise your hand and star 9 to lower your
17 hand, and star 6 to mute and unmute yourself. One important
18 thing to remember is that when you do -- when we do unmute
19 you, please state your name and your affiliation.

20 This Workshop is being recorded, and for us to BE
21 ABLE TO communicate back with you at a later time, we need
22 to know exactly who we were talking with or who we're having
23 a discussion with.

24 And, again one more time, this presentation is
25 being recorded. And the transcript and the recordings will

1 be provided at a later time.

2 Also I wanted to let you know that the PowerPoint
3 presentation that you're seeing today will also be posted on
4 our docket for your viewing by tomorrow at lunch time.

5 So with that, let's get started.

6 Some of the areas that we're going to be
7 discussing today will be raising the formal background on
8 what the Energy Commission is and how we do the analysis.
9 And Mike Shewmaker, a specialist with our office, will be
10 talking about steep-sloped cool roofs, roof alterations,
11 fenestration requirements, opaque envelope, and the
12 simplification of the hotel/motel envelope requirements.

13 We're trying to provide some alignment with the
14 nonresidential and we will explain that a little bit later.

15 With that, so how did we start. To reduce
16 wasteful, uneconomic, and inefficient or unnecessary
17 consumption of energy, two California politicians, Charles
18 Warren and Al Alquist, the co-authors, developed what's
19 known as the Warren Alquist Act. This law was signed in
20 1974 under Governor Ronald Reagan and was funded by Jerry
21 Brown in 1975. And the development of the Energy Commission
22 was made at that time.

23 This Act actually gives authority to the Energy
24 Commission to develop the Energy Code on a triennial basis
25 and the local jurisdictions to enforce the Energy Codes

1 through the building permit process.

2 These days we're not just talking about energy
3 efficiency. We're looking at global warming potentials,
4 we're looking at a government -- urban heat island, we're
5 looking at decarbonization, and providing a pathway for an
6 all-electric building to be implemented here in California.

7 How are the Codes developed. Currently, with the
8 help of our utility partners, being Pacific Gas & Electric,
9 Southern California Edison, San Diego Gas & Electric, the
10 Sacramento Municipal Utility District, and the Los Angeles
11 Department of Water and Power, who with their consultants
12 help and support our efforts in moving forward and through
13 the 2022 Code cycle. These organizations with consultants
14 develop what we call the Codes and Standards Enhancement
15 Document, the CASE Reports. The utilities have had multiple
16 stakeholder meetings within their own program, where they
17 invited the public to provide feedback and provide
18 information for the proposals that they will be making to
19 the Energy Commission.

20 So for each measure that you will be hearing
21 today, there were two workshops done at the utility level,
22 and now when they submitted the CASE Report to the Energy
23 Commission, now that becomes the responsibility of the
24 Energy Commission to move forward with it. And, to get more
25 information from you folks and others, we have what we call

1 the pre-rulemaking workshops, today being one of those.

2 There are other entities involved in Code
3 development. We also have the California Energy Alliance.
4 They have submitted a few proposals to the Energy Commission
5 also for evaluation.

6 But in doing so, all measures have to go through a
7 lifecycle cost methodology based on the most current, up-to-
8 date time-dependent value format in the creations. So what
9 is proposed has to be cost-effective to the building owner.
10 And it's all based on the 16 climatic zones in California
11 and what may be cost-effective in one climate zone may not
12 be cost-effective in another climate zone.

13 Our tentative schedule currently as we move
14 forward. We are to complete our workshops by -- and
15 supposedly we're supposed to have them all completed by the
16 end of October. There are two workshops that will be
17 lingering, and I will explain those a little bit later,
18 after this slide. But our hope is to have the 45-day
19 language, write-ups, and hearings in February. Before doing
20 that, we have to write the Code language, the Standard
21 language, and it has to be done at least a month before our
22 workshops -- actually I lied, it has to be done two months
23 before our workshop because it takes about a month to have
24 it routed within the Energy Commission and to be evaluated.
25 And then it takes about a month or so to get it posted for

1 your public review.

2 And we will most likely have two workshops some
3 time in February. Those workshops will be commissioner-held
4 workshops, so Commissioner McAllister will oversee those
5 workshops. It will most likely be three or maybe four. At
6 this time I'm not a hundred percent sure how we're going to
7 do that.

8 And then we're trying to get the language ready
9 for adoption by July of 2021. Folks, there's not much time
10 left. So if we can get your comments and concerns earlier
11 rather than later, we're in better shape. And I really
12 don't want to rush things, but we'll do our best to get
13 everything implemented properly, but that also requires your
14 assistance.

15 We will, after the adoption, we will have to
16 develop the Compliance Manuals, electronic documents for
17 compliance documents, and provide training to the public of
18 the new Code language and what that means.

19 Then we will be going to the Building Standards
20 Commission for approval of our standards some time -- excuse
21 me -- in December of 2021. That -- at the Building
22 Standards Commission, it's mostly to receive an approval,
23 because we have already done the adoption process here at
24 the Energy Commission, and they just want to make sure that
25 we follow all procedures and protocols that are required,

1 that we have public hearings, that we take people's/folks'
2 comments in consideration. Per se, we don't have to agree
3 with those arguments, but we have to have taken those into
4 consideration and prove that we have done so.

5 We're trying to do all this one year in advance,
6 again to get everybody ready and educated and have a smooth
7 transition into 2023 on this current Code cycle.

8 Our current tentative rulemaking schedule so far,
9 we've had quite few, as you can see. Right now, October
10 20th, we're talking about the nonresidential high-
11 performance envelope. We will have another one next week on
12 control environmental horticulture and steam traps for
13 newly-constructed buildings and newly-constructed systems.

14 Also we were to have a workshop on October 29th on
15 the indoor air quality. We are pushing that back to
16 November 3rd and we will tie that up with the nonresidential
17 reduced infiltration requirement. So the indoor air quality
18 proposal and the nonresidential reduced infiltration will
19 both be held on November 3rd. And on November 19th, we will
20 have -- oops, sorry -- we will have one more workshop to
21 propose the all-electric pathway as we move forward, PV
22 requirements, and also present the multifamily all electric
23 as we move forward.

24 We may or may not between November 3rd and
25 November 19th have another workshop. That will be for

1 anything we may have missed or anything that comes up that
2 needs to be considered. And we will have another workshop,
3 I'm not sure at this time when that would happen or if that
4 would happen, but I just wanted to get that out to you. But
5 if we do have one, we will definitely have a notice going
6 out and enough time for you folks to be ready to
7 participate.

8 Key websites for you to consider. The first one
9 is the Utility-Sponsored Stakeholder website. That has all
10 the information that was used to develop the final CASE
11 Reports. The Building Energy Efficiency Program, our
12 websites here at the Energy Commission. That's all the
13 information we have based on 2016, 2019, and the new 2022
14 Standards. These are all the documents, all the
15 instructions, all the training material, and the compliance
16 and computer programs.

17 The last link is probably the most important link
18 today and this is for your comments. Please submit your
19 comments to this website here. For this workshop, please
20 submit them by November 3rd. We would love to hear from
21 you. And the reason we do is we want to make sure that we
22 have a very solid program as we move forward. But the
23 sooner you do so, the better we are.

24 You will probably see this website more and more
25 throughout this presentation today. I just wanted to make

1 sure that you guys are informed and be able to submit your
2 comments on time.

3 Some key staff members here at the Energy
4 Commission. Mazi Shirakh, he's our Senior Mechanical
5 Engineer within the Building Standards Office and he's
6 overseeing the Electrification Pathway and the
7 Decarbonization Pathway as we move forward into 2022 and
8 beyond. Myself. Peter Strait, he's a Supervisor here at
9 the Building Standards Office. He oversees all of our
10 staffing and support as we develop the Codes. Haile Bucaneg
11 is our Senior Mechanical Engineer. He's new to the office
12 for this Code cycle. And he's been of very great benefit
13 and he's provided a lot of great input on our Codes and
14 Standards work that we've been doing. Will Vicent, he is
15 our new Office Manager. At this time I don't have a phone
16 number for him as he started about three weeks ago and we
17 have not been back in the office so we don't know what phone
18 number is going to be assigned to him at this time. So to
19 get ahold of him, because you're upset with me or anybody
20 else, you could email him at this time.

21 Again like I said earlier on, for your comments
22 for today's workshop, please have them submitted to our
23 docket by November 3rd to be considered and at the link
24 below. And I would appreciate it if you guys could submit
25 your comments or communicate with us sooner than later

1 because then it gives us enough time to really understand
2 the concern and have the proper Code language developed.

3 Thank you. And if there are any questions, I will
4 pause right now and take any questions that you may have.

5 And if not, I will transfer to Mikey Shewmaker --
6 oh, excuse me -- everybody that knows him calls him Mikey --
7 Michael Shewmaker, and he can start his PowerPoint
8 presentation.

9 Mikey.

10 We have one raised hand. And one second, I
11 apologize.

12 Siva, I'm going to unmute you. Please state your
13 name and affiliation. But before you do, you need to unmute
14 yourself too from your side. Thank you.

15 MR. SETHURAMAN: How about now? Are you able to
16 hear me?

17 MR. BOZORGCHAMI: Perfect. Thank you.

18 MR. SETHURAMAN: Okay. Siva Sethuraman with
19 Cascade Energy. I think there were two slides that showed
20 like a calendar schedule for different measures or focus
21 area. I think --

22 MR. BOZORGCHAMI: Yes.

23 MR. SETHURAMAN: -- I don't think we talked about
24 the first one. Would you be able to share that slide one
25 more time?

1 MR. BOZORGCHAMI: This one, right here?

2 MR. SETHURAMAN: For right now.

3 MR. SHEWMAKER: I take it from control by sharing
4 this hearing.

5 MR. BOZORGCHAMI: Oh, oh, I'm sorry.

6 This one?

7 MR. SETHURAMAN: Yes. Thank you so much. Yeah, I
8 just wanted to get an idea of what --

9 MR. BOZORGCHAMI: Sure. See, we will have this
10 posted on our website. And if you look in our previous
11 workshops too, this is a standard template that we've been
12 using, so that's also on there. The only thing that may not
13 be on the previous slides are the information on the
14 November 3rd. It used to say October 29th, but we moved it
15 to November 3rd at this time.

16 MR. SETHURAMAN: Got it. Okay. All right.

17 MR. BOZORGCHAMI: Okay.

18 MR. SETHURAMAN: Thank you so much.

19 MR. BOZORGCHAMI: You're welcome very much.

20 Mikey, go ahead.

21 * MR. SHEWMAKER: Okay. Share my screen.

22 All right. Thank you for having me. Good
23 morning, everyone. My name is Michael Shewmaker and I'm an
24 Energy Specialist with the Building Standards Office. Today
25 I am here to present the Nonresidential High-Performance

1 Envelope Proposals for 2022.

2 Before I dive in, I'd like to take a second to
3 give a special thanks to the Nonresidential Envelope CASE
4 Team, led by Energy Solutions who served as a primary author
5 for this CASE initiative.

6 In today's presentation I will be covering five
7 topics, as Payam mentioned earlier: The steep-sloped cool
8 roofs; roof alterations; fenestration, which includes an
9 update to the U-factor and SHGC requirements for fixed
10 window and curtain wall storefront windows, as well as a
11 compliance path option for an update to FAR SHGC equation to
12 provide credit for horizontal slats; additionally, I will be
13 covering opaque envelope, specifically I will be focusing on
14 a proposal for walls; and a simplification for one the
15 hotel/motel envelope requirements.

16 Starting first with cool roof. For those of you
17 who would like to follow along in the CASE Report, this
18 proposal will correspond to Chapter 2.

19 So under the current 2019 Code, nonresidential
20 buildings are required to have an aged solar reflectance of
21 0.20 and a thermal emittance of 0.75 in all climate zones.

22 First off, I want to reiterate that we are not
23 pursuing the low-sloped cool roof proposal for inclusion in
24 Part 6 for 2022. So for the remainder of this presentation,
25 I will be focused solely on the steep-sloped cool roof

1 proposal.

2 This proposed Code change would impact new
3 construction as well as additions and alterations. However,
4 alterations to healthcare facilities would be exempted.

5 So for 2022, we are looking at requiring an aged
6 solar reflectance of 0.25 and a thermal emittance of 0.80 in
7 Climate Zones 2 and 4 through 16. This measure would apply
8 to all nonresidential building types including relocatable
9 public school buildings and healthcare facilities with the
10 exception of alterations.

11 Since this measure is being proposed for new
12 construction as well as additions and alterations, Section
13 140.3(b) and 141.0(a)2B would be affected as the section
14 would be updated to reflect the proposed steep-sloped and
15 cool roof requirement proposed. And there are no proposed
16 changes to the reference appendices for this measure.

17 For this measure there would continue to be an
18 exception for roof areas covered by building-integrated
19 solar PV panels or building-integrated solar thermal panels.

20 And although we are not pursuing the low-sloped
21 cool roof proposal at this time, the low-sloped cool roof
22 insulation trade-off table would be updated to align with
23 the new TDV values as well as the roof alterations proposal
24 which I will discuss in the next section of this
25 presentation.

1 The one concern from stakeholders that was brought
2 up at the utility-sponsored stakeholder meetings that I'd
3 like to address was regarding potential product
4 availability. Through the CASE Team's research, they found
5 that 86 percent of products that currently meet the 2019
6 steep-sloped requirement would meet the proposed 2022
7 requirement. However, I want to be clear, the proposed Code
8 change does not prohibit the use of any roof product.
9 Through either the prescriptive low-sloped cool roof
10 insulation trade-off table or the performance compliance
11 approach, any product can be installed.

12 Another concern that was brought up the utility-
13 sponsored stakeholder meeting was regarding moisture.
14 Numerous online articles and simulations have shown that
15 appropriate amounts of above deck insulation can be added to
16 ensure that the roof deck stays above the dew point,
17 mitigating any potential moisture concerns. For new
18 construction, the stakeholders that we spoke to indicated
19 that moisture buildup is not really a concern as designers
20 can design the roof assembly to account for the more
21 reflective roof surface.

22 For alterations, multiple stakeholders agreed that
23 adding R-10 above deck insulation would keep a roof deck
24 warm enough to mitigate most moisture accumulation problems
25 in the vast majority of existing buildings. However, the

1 specific conditions of each building would not to be
2 considered and additional insulation may be required in
3 certain climate zones and scenarios.

4 Now before we dive into the results of the
5 computer modeling, I wanted to touch on a few key
6 assumptions. For modeling purposes, we assumed that the
7 standard design or baseline was minimally compliant with the
8 2019 Part 6 requirements with one exception. For
9 hotel/motel guestrooms, it was assumed that the entire room
10 area complies with the nonresidential requirements in Table
11 140.3-B.

12 To perform the necessary computer simulations, the
13 2022 research version of CBECC-Com was used along with
14 EnergyPlus. A few key assumptions of other prototypes that
15 were not used or were modified:

16 Hotels, warehouses, large retail buildings, and
17 grocery store buildings were not modeled and are not
18 included in the scope of this measure;

19 The retail mixed use building prototype does not
20 include a roof, subject to it is not evaluated; and,

21 Finally, OfficeSmall, restaurant, standalone
22 retail, and retail strip mall building prototypes were
23 modified to include examples with steep-sloped roofs.

24 I threw this slide in to provide a little
25 information on where the building prototypes used in this

1 analysis came from. The majority of the building prototypes
2 used come directly from the CBECC-Com software. However,
3 the grocery and assembly models were sourced from CPUC's
4 DEER and the hospital prototype was modeled -- hospital
5 prototype model was sourced from DOE and ASHRAE.

6 Now digging into the results of the energy
7 modeling, in the following slides I will present the first-
8 year energy impact results. Here you have the TDV energy
9 savings for new construction. And, as you can see, the
10 results are generally positive with a few exceptions here
11 and there.

12 And here you have the TDV energy savings for
13 alterations. Again, the results are generally positive with
14 a few exceptions.

15 Now in the next set of slides I will present the
16 30-year energy cost savings results for newly-constructed
17 buildings and alterations in 2023 dollars. As noted on the
18 slide, the TDV methodology allows for peak electricity
19 savings to be valued more than electricity savings during
20 non-peak periods.

21 To give some perspective, here you have the 30-
22 year TDV energy cost savings results for the OfficeSmall
23 building prototype. And, as you can see, the large
24 electricity savings seen from this measure far outweigh the
25 slight increase in natural gas usage, resulting in positive

1 TDV energy cost savings in almost all climate zones except
2 for Climate Zone 1.

3 Pulling back a little, here you have the total TDV
4 energy cost savings per square foot for new construction
5 broken down by building prototype and climate zone. And
6 here you have the total TDV energy cost savings for
7 alterations. Again, this is per square foot and broken down
8 by building prototype and climate zone.

9 The incremental cost for both new construction and
10 roof alterations consists of the difference in material
11 costs of roofing products that meet the current 2019
12 requirements to those that meet the proposed 2022
13 requirements. There were no incremental cost for product
14 installation and no incremental cost for maintenance.

15 On this slide you have the incremental cost
16 information that was gathered and used for the benefit cost
17 analysis. Incremental costs were determined from online
18 searches, previous research reports, and phone conversations
19 with roofing suppliers and retailers.

20 Using the incremental cost information from the
21 previous slide as well as the percent market share that
22 those roofing products represent, a blended incremental cost
23 was estimated at two cents a square foot. Additionally, the
24 lifetime of these products was assumed to be 15 years, so
25 the incremental cost used for the cost-effective analysis

1 includes the cost to replace the roofing membrane once
2 during the 30-year period of analysis.

3 And now for the cost-effectiveness results. Since
4 this measure proposes a prescriptive requirement, a cost
5 analysis was required to demonstrate that this measure is
6 cost-effective over a the 30-year period of analysis.
7 Included in this are the incremental first cost and the
8 maintenance and replacement costs; and the TDV energy cost
9 savings from electricity and natural gas were included in
10 the evaluation as well.

11 Here to give some perspective again, you have the
12 cost-effective summary the OfficeSmall building prototype.
13 If you focus your attention to the column on the right side
14 of the table, there you have the benefit-to-cost ratios.
15 Just as a reminder, to be considered cost-effective, the
16 calculated benefit-to-cost ratio must be greater than or
17 equal to 1.0. As you can see, this measure has shown to be
18 cost-effective in almost all climate zones with the
19 exception of Climate Zones 1 and 3.

20 Here you have the cost-effectiveness summary for
21 new construction broken down by climate zone and building
22 prototype. At the bottom of the table you have the benefit-
23 to-cost ratio for each climate zone weighted across the
24 various construction types by the construction forecasts.

25 And here you have the cost-effectiveness for

1 alterations, again broken down by climate zone and building
2 prototype with the construction-weighted benefit-to-cost
3 ratio at the bottom.

4 So with that we'll pause here a moment, open it up
5 for questions. For those of you who would like to speak,
6 please use the raise your hand function, once called on you
7 will be able to unmute yourself. For those of you on the
8 phone, you raise your hand by using star 9 and when called
9 on you use star 6 to unmute yourself. And please before
10 stating your comment or question state your name and
11 affiliation for the record.

12 MR. BOZORGCHAMI: So, Mikey, we have Paul.

13 Paul, I'm going to unmute you. Go ahead, sir.

14 And, folks, when I unmute you, you unmute
15 yourselves too. It's a two-step process.

16 So, Paul, you're muted right now I think.

17 MR. LAVALLEE: Okay. Can you hear me?

18 MR. BOZORGCHAMI: Yes, perfect.

19 MR. LAVALLEE: Good. Hello. Good morning. My
20 name is Paul Lavallee. I work for Arkema as a Global Market
21 Manager for Kynar Coatings. I want to start by thanking the
22 California Energy Commission for the opportunity to share
23 these comments. I also want to thank the CASE and Codes and
24 Standards Enhancement Team for the great work and doing all
25 the analysis on the nonresidential high-performance building

1 envelope.

2 I'd like to request that the Commission include
3 the low-slope cool roof requirements within the Title 24,
4 Part 6, in the nonresidential high-performance building
5 envelope and not in Title 24, Part 11, the CalGreen. And
6 I'd like to share five reasons why I think it's in
7 California's best interest to include the low-slope cool
8 roof requirements in Title 24, Part 6.

9 First is low-slope cool roofs will actually
10 provide a 32-percent higher payback to California than the
11 proposed steep-sloped roofs. This is evidenced on the CASE
12 Reports, if you look at their Tables 49, 50, and 51, the
13 overall payback or net present value, as it's called, over
14 the roof's lifespan. And, in fact, this payback time would
15 even be higher with some of the longer-lasting roof
16 technologies that are presently available in the market.

17 Second, the low-slope roofs will provide 13-
18 percent higher greenhouse gas savings or reductions versus
19 the proposed steep-sloped roofs. The low-sloped roofs will
20 provide a net 955 metric tons of CO2 equivalent reductions.
21 And this is supported by the CASE calculations that have
22 been publicly shared. And I'm told those will be included
23 in the forthcoming updated CASE Report.

24 Third, the concerns about roof condensation can be
25 easily addressed, as mentioned by Mikey in his slides just

1 now. They can be addressed with vapor barriers or roof
2 insulation. In fact, the CASE Report clearly outlines
3 performance standards to address this. That's in Section
4 2.2.2.6.

5 Fourth, there's a wide variety of currently-
6 available roofing toppings that meet the low-sloped roof
7 standards. In fact, there are several asphaltic base
8 products that meet the proposed standards. Overall, all
9 together there's 480 unique roofing products on the market
10 that meet the proposed low-sloped cool roof standards. And
11 those are listed in Table 172 and 173 of the CASE Report.

12 And, fifth and finally, the energy goals set by
13 the California Legislature are, frankly, challenging and
14 their imminent. And meeting these mandate targets is going
15 to require a "all of the above" approach utilizing many
16 proven technologies to collectively reduce our carbon
17 footprint. The CASE Report's final calculation and
18 conclusions support that the proposed low-sloped cool roof
19 requirements are a proven value-add.

20 So taken together, we feel these five points paint
21 a picture of economic and achievable improvement, and that
22 meets the California Energy Commission's goals as mentioned
23 by Payam at the start, energy efficiency, greenhouse gas
24 reduction, and reducing the environmental impact and heat
25 effect on buildings. So taken together we propose the

1 addition of the low-slope roof proposal, the high-
2 performance building envelope for the 2022 Code cycle year.

3 Again, thank you for the opportunity to share
4 these comments.

5 MR. BOZORGCHAMI: Thank you, Paul. I will be
6 reaching out to you. Thank you.

7 MR. LAVALLEE: Great.

8 MR. BOZORGCHAMI: Joe, I'm going to unmute you,
9 sir.

10 MR. CAIN: Hello. Joe Cain, Solar Energy
11 Industries Association. I heard that for steep-slope, the
12 mention that BIPV roofs are exempt from the cool roof
13 requirement. The question is about a BIPV roof system in
14 which the esthetic is consistent across the roof, but some
15 of the portion of the roof is the power-producing portion of
16 the roof and the rest of it is just in the same family of
17 product, is that entire roof exempt from cool roof
18 requirements for steep slope? Otherwise that product -- you
19 know, I'm not sure how that product would meet the cool roof
20 requirements. That's the question. Thank you.

21 MR. BOZORGCHAMI: So, Joe, are you talking more
22 similar to -- I'll be out there and just say it -- Tesla
23 cool -- or is it access the solar roof?

24 MR. CAIN: Yes. I was not going to mention a
25 trade name, but --

1 MR. BOZORGCHAMI: Yeah, that's okay. No, it's
2 only areas that provide power generation. The value of cool
3 roof oversees the other part, so if you do have a cool roof,
4 that should reduce your energy consumption, so the rest of
5 the wall -- roof most likely would need to meet that cool
6 roof requirement.

7 MR. CAIN: Okay. That could be problematic.

8 MR. BOZORGCHAMI: Yeah.

9 MR. CAIN: So that may be something that needs
10 further study, I guess is my suggestion.

11 MR. BOZORGCHAMI: Sure. Let's talk about that.

12 MR. CAIN: Thank you.

13 MR. BOZORGCHAMI: Sorry, I'm just taking notes.

14 Any other raised hands? Any questions and answers?

15 Okay, with that, Mikey, go on to the next
16 proposal, please.

17 * MR. SHEWMAKER: All right. So the next topic I
18 will be covering is roof alterations, which corresponds to
19 Chapter 3 in the CASE Report.

20 Roofing insulation requirements for alterations
21 were first introduced in 2008 and have remained unchanged
22 since. For roof replacements, R-8 continuous insulation is
23 required in Climate Zones 1 and 3 through 9 and R-14
24 continuous insulation is required in Climate Zones 2 and 10
25 through 16. Roof recoveries, on the other hand, have been

1 exempted from any insulation requirements during this time.

2 For 2022 it was proposed that roof replacement
3 would be required to have R-23 continuous insulation and
4 Climate Zones 1 through 5 and 9 through 16, and R-17
5 continuous insulation in Climate Zones 6 through 8.
6 Additionally, roof recovers would be required to have either
7 a minimum of R-10 continuous insulation above deck or meet
8 the requirements for roof replacements, whichever is less.

9 Because this measure would only apply to
10 alterations, only Section 141.0 of part 6 would be affected.
11 Additionally, JA4, Table 4.2.2 for the Reference Appendices
12 would be updated to include U-factors for R-17, R-20, and R-
13 23 continuous insulation.

14 The exception for mechanical equipment located on
15 the roof and that is not being disconnected or lifted would
16 continue to exist, however, it would be limited to certain
17 climate zones for both roof replacements and recovers. And
18 I will explain more on this in a moment. Additionally, the
19 exception for tapered insulation would remain available.

20 For 2022 it was proposed that we remove the
21 exceptions for existing roofs with R-7 continuous
22 insulation. The reason for this modification is to
23 accommodate the R-10 continuous insulation requirement for
24 recovers. Additionally, the exception states that
25 insulation is not required to be added if doing so would

1 reduce the base flashing height to less than 8 inches at
2 penthouse and parapet walls, as stakeholders have indicated
3 that raising base flashing heights at penthouse and parapet
4 walls does not add significant complexity or cost to
5 projects. Furthermore, this change would reduce the
6 complexity of the Code and remove an exception that
7 stakeholders is unnecessary. Furthermore, the exception for
8 limited base flashing height of mechanical equipment was
9 modified to limit it to certain climate zones as it was
10 found to be cost-effective to lift the equipment in certain
11 scenarios.

12 Again just to reiterate, the standard design was
13 minimally compliant with the 2019 Part 6 requirements with
14 the one exception for hotel/motel guestrooms.

15 For computer analysis we again used the CBECC-Com
16 2022 Research Version as well as EnergyPlus. As a quick
17 note, for this measure the hospital and retail mixed-use
18 building prototypes were not evaluated and the public
19 assembly building prototype is continuing to be evaluated,
20 but the results were not prepared in time to present today.

21 This is not something we need to go into in depth,
22 but it reiterates what I stated earlier about the origins of
23 these building prototypes and were used in the analysis.

24 Digging into the results of the energy modeling,
25 starting first with the first year energy impacts. Here you

1 have the TDV energy savings for roof replacements. As you
2 can see, the results are positive in almost every scenario,
3 with the exception of retail standalone in Climate Zone 15,
4 which came as a bit of a surprise to us.

5 And here you have the TDV energy savings for roof
6 recovers, which shows fairly significant savings in nearly
7 all scenarios, a little less so for the OfficeLarge and
8 Medium, but still positive.

9 Now moving to the results of the 30-year energy
10 cost savings. Here you have that 30-year TDV energy cost
11 savings for roof replacements. Again we have just that one
12 anomaly for retail standalone in Climate Zone 15. And here
13 you have the 30-year TDV energy cost savings for roof
14 recovers with positive savings across the board.

15 The incremental first cost estimate for this
16 measure included the material cost of insulation, the labor
17 to install it, and the cost of lifting mechanical equipment
18 to maintain the necessary base flashing height.
19 Additionally, it was assumed the lifetime of the roofing
20 membrane is 15 years, so that over the 30-year period of
21 analysis there would be at least one roof recover.

22 For roof replacements it was assumed that there
23 would not be any incremental cost for replacement or
24 maintenance. However, for roof recovers, we assumed a
25 replacement cost of 55 cents a square foot in Climate Zones

1 1 and 3 through 9 and 51 cents a square foot in Climate
2 Zones 2 and 10 through 16.

3 Just as a quick note, we assumed incremental
4 replacement cost was the same used for the incremental first
5 cost for roof recovers, but with a three-percent discount
6 rate applied over 15 years.

7 Here you can see how the incremental cost was
8 calculated for the various levels of insulation for roof
9 replacements versus recovers. Just as a quick note, it was
10 originally proposed that we included a means for third-party
11 verification for the existing insulation to be counted
12 towards the roof alteration requirement. But since there is
13 no means or entity to do this at this time, we decided not
14 to pursue this for 2022. So that is why you see the cost of
15 verification there crossed out.

16 And, finally, we'll dig into the cost-
17 effectiveness analysis results before we open the floor
18 again for questions.

19 Here, you have the cost-effectiveness summary for
20 roof replacements. Again, values that fall below a benefit-
21 to-cost ratio below one are highlighted in red. And here
22 you have the cost-effectiveness summary for roof recovers.
23 To sort of bring this all together, here you have the
24 benefit-to-cost ratio for each climate zone with the cost of
25 various construction types and construction forecasts. As

1 you can see, the roof replacements measure was shown to be
2 cost-effective for all climate zones. And for roof
3 recovers, it showed them as cost-effective in almost all
4 climate zones, just barely missing the mark in Climate Zone
5 10. However, this might change with the removal of the
6 verification cost.

7 And although this information was not included in
8 the overall cost-effective analysis due to the small number
9 of recovers covering the membrane, a question came up at one
10 of the stakeholder meetings about cover boards that I
11 thought I would address. The statewide CASE Team formed a
12 cost-effective analysis for adding a cover board during a
13 roof recover with an additional first cost of 40 cents a
14 square foot and an additional maintenance cost of 26 cents a
15 square foot for the cover board.

16 And with that we'll take a moment here and open
17 things up for questions.

18 MR. STRAIT: Thank you. There is one question
19 that we have by chat, and I'm happy to read that now. Are
20 you able to hear me, Mikey?

21 MR. SHEWMAKER: Yes.

22 MR. STRAIT: Okay, just confirming.

23 Sid Dinwiddle -- Dinwidde -- I'm sorry -- asks:
24 Recognizing higher reflectance may result in moisture
25 problems, the use of R-10 insulation above the deck is

1 suggested to prevent the issue. Why was that insulation not
2 included in the cost-effectiveness evaluation.

3 MR. SHEWMAKER: Is this a question related to the
4 -- specifically to the cool roof proposal? Because the
5 measure here, the R-10 insulation was taken into
6 consideration.

7 MR. STRAIT: Um-hum. We have -- Sid, if you're
8 still listening, you can type a response in or a new
9 question to clarify or you can raise your hand and we can
10 unmute your line.

11 MR. SHEWMAKER: And you could always email me as
12 well and we can --

13 MR. STRAIT: Oh, he is saying prior proposal
14 specifically. And Heidi has typed a response, and I don't
15 know if you want to read that off.

16 MR. SHEWMAKER: I don't have access to the Q&A.

17 MR. STRAIT: All right. I will read the response
18 that I'm seeing from Heidi: So the roof insulation
19 requirement was considered for alterations within the roof
20 proposal. Both roof insulation and cooler roofs for steep
21 slope are cost-effective independently. They have not let
22 the combined energy impacts and benefit costs of R-10 along
23 with the cool roof but because each is cost-effective
24 independently, we would not expect them to be not cost-
25 effective together.

1 So that's --

2 (Brief simultaneous talking.)

3 MR. SHEWMAKER: -- party.

4 MR. BOZORGCHAMI: Joe, I'm going to unmute you.

5 MR. CAIN: Joe Cain, Solar Energy Industries
6 Association. I heard mention of cover boards, and just a
7 comment that as you stand on a requirement for rooftop PV
8 systems to some commercial occupancies, to meet the fire
9 classification requirements in the Building Codes you will
10 likely see increased use of cover boards, and those would be
11 helpful if -- in more widespread use with original
12 construction to provide better opportunities for meeting
13 fire classification requirements for PV systems and mounting
14 systems in the presence of that roof assembly. So cover
15 boards is a good thing.

16 MR. STRAIT: Thank you, Joe.

17 I do not have any additional open questions in the
18 Q&A box.

19 MR. BOZORGCHAMI: I don't have any more raised
20 hands, so, Mikey, go ahead.

21 * MR. SHEWMAKER: Okay. All right, so moving onto
22 windows. So for this topic there are two proposals that I
23 will talk about. The first is a prescriptive update to the
24 U-factor and SHGC requirements for fixed windows and curtain
25 wall storefront windows. And the second is a compliance

1 option update to the RSHGC equation to provide credit for
2 horizontal slats.

3 So first I'll start with the proposal for fixed
4 and curtain wall storefront window factors and SGHCs. Here
5 you have the window requirements from Tables 140.3-B and -C
6 to help focus your attention on both of the two categories
7 that we'll be discussing for this measure which are, again,
8 fixed windows and curtain wall storefront windows.

9 For 2022, this measure would apply to new
10 construction only and would reflect a more stringent U-
11 factor in SHGC values, while visible transmittance would
12 remain the same. In a departure from this past, this
13 measure would also update the reference table to include
14 bearing values for each climate zone to account for climate-
15 specific ease.

16 So for 2022 the prescriptive window requirements
17 would look something like this. For fixed windows, a U-
18 factor and SHGC requirements would be revised to meet .34,
19 .22 in Climate Zones 9 and 11 through 15. For all other
20 climate zones would remain at the current 1.36, 1.25.

21 For curtain wall storefront windows, the U-factor
22 and SHGC requirements would be revised to .38, .25 in
23 Climate Zones 1 and 7, while all other climate zones would
24 remain in the current .41, .26.

25 Most of the changes you see here for Part 6 and

1 the Reference Appendices are related to the updated RSHGC
2 equation, which I will talk about in a minute. But for the
3 U-factor and SHGC updates, because this proposal would only
4 affect new construction, only Section 140.3 would be
5 affected.

6 For 2022, it was proposed to do away with the
7 exception for site-building fenestration. I should note
8 that this has been a gradual phasing-out process. This
9 exception would reduce the last Code cycle from 1,000 square
10 feet to 200 square feet, but we feel that this will give
11 builders enough time to acquaint themselves with the NFRC
12 certification process.

13 In order to achieve these more stringent U-factor
14 and SHGC requirements, there are many technologies that are
15 currently available that would allow the designer to meet
16 the proposed requirement. Excuse me. These include argon
17 and krypton gas fill, low-e coatings, thermally broken
18 frames, warm edge spaces, and triple-pane glazing. However,
19 achieving the proposed overall U-factors may require more
20 than one of these strategies to be employed. For the
21 purposes of this measure, the CASE Team determined that
22 including the fourth surface low-e coating on a baseline
23 technology was sufficient to meet the updated requirements.

24 Before we dive into the results of the modeling, I
25 should mention that for fixed windows, for any building type

1 that was expected to contain curtain wall and storefront
2 window products, it was assumed that 809 percent of the
3 fenestration was fixed and 20 percent was curtain wall or
4 storefront windows.

5 For this measure we again used CBECC-Com and
6 EnergyPlus, but for this measure all of the building
7 prototypes were evaluated.

8 Again this was information that you saw earlier,
9 so I'm going to skip over it.

10 But so now we'll dive into the results of the
11 energy modeling. Here you have the TDV energy savings for
12 fixed windows. And here you have the TDV energy savings for
13 curtain wall storefront windows.

14 Switching now to the 30-year cost-effectiveness --
15 or cost savings results, here you have the 30-year energy
16 cost savings for fixed windows. And here you have the 30-
17 year energy cost savings for curtain wall and storefront
18 windows.

19 The incremental costs for this measure are
20 relative to a window that is minimally compliant with the
21 2019 Standards and includes labor and material cost but no
22 incremental maintenance or replacement costs.

23 In this table you have the incremental costs for
24 fixed windows broken down for each building prototype. And
25 here you have incremental costs for curtain wall storefront

1 windows broken down for each building prototype.

2 Just like with the other two measures, the cost-
3 effectiveness measure proposes a prescriptive requirement.
4 A cost analysis was required to demonstrate that this
5 measure was cost-effective over the 30-year period of
6 analysis.

7 First, to give a little perspective. Here, you
8 have the fixed window cost-effectiveness summary for the
9 OfficeLarge building prototype. And, similarly, here you
10 have the curtain wall storefront window cost-effectiveness
11 summary for the OfficeLarge building prototype.

12 And on this slide you have benefit-to-cost ratios
13 for fixed windows broken down by climate zone and building
14 prototype. Again at the bottom of the table you have the
15 benefit-to-cost ratio for each climate zone weighted across
16 the various construction types by the construction
17 forecasts. And, finally, here are the benefit-to-cost
18 ratios for curtain wall storefront windows.

19 But before I move on to the RSHGC equation update,
20 I will pause here for a moment and see if there are any
21 questions.

22 MR. BOZORGCHAMI: Mikey, this is Payam. We have
23 one question on your previous proposal. It came in a little
24 bit late. It's from -- I don't know Paul's last name, but
25 it's from Paul. And he states: The key problem requiring

1 upgrades on existing buildings during recover work is
2 enforced and has any thought been given to how this will be
3 enforced.

4 We're going to be working with folks at D- --
5 county -- building members trying to figure that out, but
6 right now, as you know, there is certain city and county
7 enforcement requirements. Examples, City of L.A., County of
8 L.A., the Cities of Davis and San Mateo and Santa Monica,
9 and so forth, that have a permit requirement for recover
10 work to be done. So -- but that's a further discussion that
11 we're going to be having with the local building officials
12 and see what we can do.

13 But for your current proposal, I don't see any
14 questions or raised hands.

15 MR. STRAIT: I'm unmuting myself there, Payam.
16 But, no, I don't see any other questions either.

17 MR. BOZORGCHAMI: So I think we can move on.

18 MR. SHEWMAKER: There is a raised hand that just
19 came up.

20 MR. BOZORGCHAMI: Oh, Joe has just raised his
21 hand.

22 Go ahead, Joe.

23 MR. CAIN: Joe Cain with SEIA. This may be a
24 little bit sidebar at this point in time, but there is the
25 new U.S. standard that is developed for BIPV. And I am

1 aware that there are a couple of products that are -- have
2 been listed that are fenestration or other facade products.
3 So -- and move to -- again, if we move the PV requirement
4 for high-rise buildings and there is insufficient roof area,
5 we will begin to look at the facade systems. So --

6 MR. BOZORGCHAMI: Sure.

7 MR. CAIN: -- a question or suggestion is whether
8 there is anything on parallel to the cool roof exception
9 for, say for instance, if you had a BIPV fenestration
10 product, would it be appropriate to exempt that from some or
11 of the other requirements. That's the question, something
12 to look into.

13 MR. BOZORGCHAMI: Sure, Joe. And I've heard that
14 too, I've heard it at NERC also, that comment. This is
15 something that we're going to have to talk with you and be
16 able to provide some sort of clarity within the Standards.
17 I sure do want to see BIPVs out there, but we're going to
18 have to figure out how to get them implemented into the --

19 MR. CAIN: Right.

20 MR. BOZORGCHAMI: So I --

21 MR. CAIN: That's a little more tricky because of
22 --

23 MR. BOZORGCHAMI: Yeah.

24 MR. CAIN: -- the thermal and the -- yeah, anyway.

25 MR. BOZORGCHAMI: Yeah, because that system works

1 a little bit better with heat and the reduced solar heat
2 gain, so we're going to have to figure that out.

3 MR. CAIN: Okay. Thank you.

4 MR. BOZORGCHAMI: Mikey, I suggest you go on to
5 your next.

6 * MR. SHEWMAKER: All right. Okay. So the proposed
7 updates to the RSHGC equation are to provide credit for
8 horizontal slats in addition to overhangs. Now this was a
9 fairly complex endeavor, so I will do my best to break it
10 down in a manner that is hopefully understandable. But I
11 would implore you to review this information in the CASE
12 Report for yourselves if you were interested.

13 Quickly, I should also note that the RSHGC
14 equation update is alternative compliance path, so no cost-
15 effectiveness calculation was necessary.

16 Some key assumptions:

17 The energy savings from exterior shading is only a
18 function of the solar heat gain that passes through the
19 shading onto the window it shades; it is only affected by
20 the geometry and solar reflectances of the shading
21 materials; it is not affected by the choice of the prototype
22 building;

23 Additionally, the interior characteristics of the
24 building do not affect the amount of solar radiation passing
25 through an exterior shading device;

1 And since the size of the exterior shade would be
2 required to cover the entire window, the size of the window
3 does not affect the relative energy savings; for these
4 reasons, only the OfficeSmall prototype was evaluated.

5 So the prototype was modeled as a baseline with no
6 horizontal slats and then was compared to one with exterior
7 horizontal slats. Various cutoff angles, tilt angles, and
8 reflectances were modeled in the proposed cases. for more,
9 all models were rotated to cover a range of orientations.

10 And so people can know what the hell I'm talking
11 about, here is an illustration to help explain. The tilt of
12 the horizontal slat determines how much indirect sunlight
13 reaches the interior. An analogy with visible light is that
14 the greater the tilt, the more the glowing surface of the
15 slat can be seen from the interior.

16 The tilt and spacing together determine a solar
17 elevation angle above which direct sunlight is blocked.
18 This is known as the cutoff angle. The cutoff angle of a
19 horizontal slat determines how much direct sunlight reaches
20 the interior.

21 And before we get into the proposed equation,
22 first we discuss the shading factor. The shading factor is
23 a factor multiplied by a window's SHGC to produce the RSHGC
24 when shading is present. Then using the equation you see on
25 the screen for each climate zone the TDV weighted the solar

1 gains through the window for all hours in the proposed model
2 was divided by that of the baseline unshaded model. This
3 was then weighted by the climate zone fraction of all
4 forecasted nonresidential construction and then all climate
5 zones were assumed.

6 In order to create an equation that would work for
7 both overhangs and horizontal fins, we first need to
8 determine the savings from an overhang. To do this, the
9 zero tilt, zero reflectance shading factor results were
10 used. Since overhangs don't have interreflection between
11 slats, they do not transmit solar gains and so therefore
12 their reflectance is considered virtually zero.

13 For horizontal slats, the physics is a little more
14 complex due to the reflectance of light between the slats,
15 resulting in more interior gains. For a given cutoff angle,
16 there is a tilt angle of maximum solar gains.

17 At low tilt angles, the slats mostly interreflect
18 between themselves and not into the interior. At high tilt
19 angles, the slats mostly bounce sunlight back out to the
20 exterior. Somewhere between these two points there is a
21 maximum solar gain point. And, to be conservative, this
22 maximum point was used for determining the shading factor
23 formula.

24 This figure helps to illustrate what I have just
25 described on a previous slide. So in this figure you have

1 the shading factor graphed as a function of the horizontal
2 slats' tilt angle. And, as you can see, the shading factor
3 increases with increased tilt angle to a point. And then
4 once you go beyond a certain tilt angle, the shading factor
5 begins to drop.

6 Finally, here you have the revised bar SHGC
7 equation being proposed. So this equation represents the
8 progression curve of the shading factor that was derived for
9 the final RSHGC. The format of the equation results in a
10 shading factor that is 1.0, one projection factor at the
11 length or projection of the fin over the spacing between the
12 slats equals zero and reaches a minimum near a 180 degree
13 azimuth.

14 In this factor the regression curve represented by
15 the solid lines are plotted with the simulated values
16 represented by the dots for various cutoff angles and
17 azimuths.

18 And then in this figure the correlation between
19 simulated and calculated savings along with a line of
20 perfect correlation is shown. As you can see from both
21 figures, the overhang regression is conservative and
22 slightly over estimates the shading factors, while the
23 horizontal slat regression matches the simulated results
24 closely.

25 So with that we'll pause here again for a moment

1 and see if there are any questions.

2 MR. BOZORGCHAMI: Any questions, any concerns, any
3 raised hands?

4 MR. STRAIT: I'm not seeing anything in the Q&A
5 box.

6 MR. BOZORGCHAMI: Sure. Folks, you still have
7 time, so if you can't think of anything now you could always
8 submit your comments through our docket and we'll reach out
9 to you folks that way too.

10 But for now, Mikey, I say we can move forward.

11 * MR. SHEWMAKER: Okay. Now switching gears to
12 opaque envelope, which corresponds to Chapter 5 of the CASE
13 Report.

14 Here you have an excerpt from Table 140.3-B of the
15 2019 Standards, showing opaque envelope U-factor
16 requirements for walls. To help focus your attention, I
17 have both of the values that we will be discussing in this
18 section, and I will frame it.

19 First off, we are not looking to pursue the roof
20 proposal outlined in this section of the CASE Report. So
21 from this point forward, I will be focusing solely on the
22 walls proposal. This is proposal will apply to new
23 construction as well as additions and alterations. And for
24 2022, the CASE Team proposed to add R-4 continuous
25 insulation to the current wall requirements.

1 So for 2022, the revised U-factor requirements for
2 walls are broken down by climate zone would look something
3 like this.

4 Despite this change applying to additions and
5 alterations as well as new construction, the only section of
6 the Standards that would be affected by this proposal would
7 be Section 140.3, specifically Tables 140.3-B and Table
8 140.3-C. There are no proposed changes to the Reference
9 Appendices for this measure.

10 Like all the other measures presented today, we
11 assume the standard design was going to be compliant with
12 the 2019 Standards, with the one exception for hotel/motel
13 guestrooms.

14 Again we used the same software and the same
15 building prototypes as we had done for all the other
16 measures. Here is a breakdown of all the building
17 prototypes that were evaluated. And now that we've set the
18 stage, we will dive into all the energy modeling.

19 Here you have the TDV energy savings for walls.
20 Now this information was not included in the final CASE
21 Report that was docketed, so this table is from the draft
22 final CASE Report that was reviewed by the Energy Commission
23 and it will be included in a safe supplement to this CASE
24 Report. Just to know, between the draft final CASE Report
25 and the docketed final CASE Report, there were some last-

1 minute updates made to the incremental cost information for
2 roofs, which ultimately led them to not be cost-effective on
3 their own. In light of this, the Energy Commission chose to
4 move forward with only the walls proposal. But as you can
5 see here, the savings for walls are positive in nearly all
6 scenarios, with the exception of assembly building
7 prototype.

8 Moving into the results of the 30-year energy cost
9 savings, here you can see that the projected savings are
10 positive across the board despite the slight increase in
11 electricity usage in Climate Zones 1, 3, 5, and 16. Again,
12 I know this table was not included in the final CASE Report
13 that was docketed. But like I mentioned earlier for the
14 first-year energy impact, this table is from the draft final
15 CASE Report and will be included in the staff supplement.

16 For this measure, the incremental first costs
17 included incremental material cost of additional insulation.
18 It was also assumed that there would be no additional labor
19 costs or any anticipated incremental maintenance or
20 replacement costs.

21 Here you have a breakdown of how the incremental
22 cost was calculated for each of the various building
23 prototypes that were evaluated. And, finally, for cost-
24 effectiveness, here you have the benefit-to-cost ratios for
25 the wall proposal. Again, this table was not included in

1 the final CASE Report that was docketed, but will be
2 included in a staff supplement. As you can see, the wall
3 proposal has shown to be cost-effective in the vast majority
4 of scenarios. With a few exceptions, when weighted across
5 the various construction types, it is shown to be cost-
6 effective in all climate zones.

7 And with that, we'll pause here and see if there
8 are any questions.

9 MR. STRAIT: I'm not seeing any new questions in
10 the Question and Answer box.

11 MR. BOZORGCHAMI: Yeah, Mikey. Go ahead and go to
12 the next topic, please.

13 MR. SHEWMAKER: Well, let's give folks a second
14 while I grab a sip of water.

15 * Since we are still not seeing anything, I will
16 continue on. All right. This will be the last topic I'll
17 be covering today, is a proposal by the statewide CASE Team
18 to simplify the hotel/motel envelope requirements. For more
19 information, please consult Appendix M of the CASE Report.

20 Current hotel/motel buildings are subject to two
21 different sets of envelope requirements. The nonresidential
22 space types much comply with the requirement in Table 140.3-
23 B that apply to all nonresidential buildings, and guestrooms
24 in these spaces must comply with the requirements in Table
25 140.3-C.

1 This proposal would simplify the requirements for
2 hotel/motel. The entire hotel/motel room would need to
3 adhere to one requirement as opposed to different
4 requirements, depending on the space type located under the
5 room. Essentially, it was proposed that the envelope
6 requirements for hotel/motel be aligned with the
7 requirements for nonresidential buildings. The envelope
8 requirements that apply to high-rise residential would be
9 moved to the new multifamily section. And what would remain
10 in Table 140.3-C would apply to guestroom spaces within
11 hotel/motel buildings.

12 On the next couple of slides I'm going to show a
13 table that represents the requirements of both Table 140.3-
14 B, which applies to nonresidential buildings, and Table
15 140.3-C, which applies to guestrooms, and then shows what is
16 being proposed below in red. Please note that where it was
17 showing to be cost-effective, the recommended envelope
18 requirements are consistent with the proposed envelope
19 requirements presented within the CASE Report.

20 So, again, just to reiterate, the recommendation
21 is to align the proposed requirements as presented in this
22 report where it was shown to be cost-effective. If a
23 measure was shown to not be effective, then the more
24 stringent of the two current requirements was proposed. So
25 here you have the proposed recommendation for roofs, walls,

1 and low-sloped cool roof products. Please note that the
2 values you see highlighted were aligned with the opaque
3 envelope proposal that we are no longer pursuing. So these
4 values will be either updated to align with the more
5 stringent of the two values or left as-is.

6 And here you have the proposed recommendation for
7 steep-sloped cool roof products and roof replacements.

8 A couple of key assumptions before we dive into
9 the results of the energy modeling. The steep-sloped cool
10 roof and roof recover proposed requirements were not modeled
11 for a HotelSmall prototype. And it was assumed that the
12 hotel/motels would also not be affected by the curtain wall
13 storefront window requirement.

14 For evaluation, the CBECC-Com 2022 Research
15 Version was used along with EnergyPlus. And, for this
16 measure, only the HotelSmall building prototype was
17 evaluated.

18 Moving into the results from the computer
19 modeling, the following slides show energy savings and peak
20 demand reductions per unit. Here you have the energy
21 savings for new construction. As you can see, the
22 electricity and natural gas savings are almost all positive.
23 And here you have the energy savings for alterations. As
24 you can see, in this scenario the electricity and natural
25 gas savings are positive across the board.

1 To estimate the incremental costs of the proposed
2 changes, the statewide CASE Team determined the incremental
3 cost for the following on a per square foot basis. The
4 incremental cost of current requirements that apply to
5 guestroom spaces relative to the proposed requirements as
6 well as the incremental costs of the current requirements
7 that apply to nonresidential spaces in the hotel/motel
8 relative to the proposed environment. The CASE Team then
9 used the building geometry in the prototypical buildings to
10 develop a weighted average incremental cost per square foot
11 of impacted envelope element.

12 So here you have incremental cost information for
13 new construction. I know this table looks a little
14 overwhelming, and I apologize for it being so small, but
15 there was a lot of information for the slides. So to
16 hopefully make things a little clearer, you have the
17 incremental cost information for your baseline assumption on
18 the left and then the proposed on the right. And then the
19 total incremental cost that was then used as part of the
20 analysis can be found in the far right column of the table.

21 So here you can see the incremental cost for cool
22 roofs. Here you have incremental cost information for wall
23 and insulation. And here you have the incremental cost
24 information for windows. Then at the bottom of the table
25 you have the total incremental cost for all of the measures

1 being proposed or evaluated. This value is the sum of the
2 total incremental costs for each of the submeasures found in
3 this table.

4 Similarly, here you have the incremental cost
5 information for alterations. So here you can see the
6 incremental cost associated with a cool roof alteration, for
7 a roof recover. And here you can see the incremental cost
8 associated with a replacement. There at the bottom you can
9 see the total incremental cost for all of the measures being
10 proposed and evaluated.

11 And because this proposal would modify the
12 stringency of the proposed requirements for hotel/motels, a
13 cost analysis was required to demonstrate that this measure
14 is cost-effective over the 30-year period of analysis. So
15 here you have the cost-effectiveness summary for new
16 construction. As you can see, the cost-effectiveness didn't
17 quite pencil out as we had hoped, with this proposal only
18 showing cost-effectiveness for Climate Zones 10 through 16.

19 And here you have the cost-effectiveness summary
20 for alterations. Again, it wasn't quite what we had hoped,
21 but it did prove cost-effective in more climate zones than
22 construction, with this measure penciling out Climate Zones
23 2, 4, and 8 through 16.

24 Now while we do not have any specific questions at
25 this time, we are highly, highly interested in your feedback

1 on this proposal. So, please, I encourage you to review
2 Appendix M and provide us with your questions and comments
3 in the docket.

4 And with that, I will stop yammering and open
5 things up for questions.

6 MR. STRAIT: I do not have any questions in the
7 Q&A box at the moment and I'm not seeing any hands raised.

8 MR. BOZORGCHAMI: Mikey, let's take another glass
9 of water, so maybe hopefully something comes up. If not,
10 then people, folks can submit their comments in our docket
11 and we can answer them that way.

12 MR. SHEWMAKER: Okay.

13 MR. BOZORGCHAMI: Okay. I think we should move on
14 to the next proposal.

15 MR. SHEWMAKER: Okay. Well, that is pretty much
16 it for me.

17 MR. BOZORGCHAMI: Okay.

18 MR. SHEWMAKER: Thank you all for your time and
19 attention this morning. You can find a copy of the CASE
20 Report using the following link. For those of you with a
21 copy of the presentation, you can simply click where it says
22 "CASE Report," and it will take you directly to the actual
23 CASE Report. I've also provided a link to our online
24 commenting system. Again, for those of you with a copy of
25 the presentation, you can simply click where it says,

1 "Submit Comment," and it will take you right to it.

2 And, finally, as Payam mentioned earlier, we ask
3 that comments be submitted to the docket by no later than
4 5:00 p.m. on November 3rd.

5 You can submit your comments to us in one of three
6 ways: Through our electronic commenting system, which I had
7 just mentioned on a previous slide; by emailing your
8 comments to the docket unit at docket@energy.ca.gov. Please
9 be sure to include the Docket Number 19-BSTD-03 and "2022
10 Building Energy Efficiency Standards" in the subject line.

11 And, finally, as a last resort, you can submit
12 your comments by mail and to the following address.
13 However, during this time electronic submittal is highly,
14 highly encouraged as we are out of the office during this
15 pandemic.

16 If you have any questions, please don't hesitate
17 to reach out to us. Questions regarding these specific
18 proposals can be directed to me. My contact information is
19 provided there at the top. And for questions related to the
20 2022 Standards more in general, you can reach out to Payam
21 Bozorgchami.

22 And with that, that concludes my presentation.
23 Thank you, all, again. And as much as time will allow, I'd
24 like to open things back up for any final comments or
25 questions.

1 MR. BOZORGCHAMI: Mikey, can you go back to that
2 one slide that had all the three -- there you go. Yeah,
3 right there.

4 Any comments, any questions? On anything you
5 heard today?

6 Well, if not, please submit your docket and the
7 information is right there. And I will adjourn the Pre-
8 Ruling Workshop for today. Thank you, everyone, for
9 participating. Thank you.

10 (Whereupon, the workshop was concluded at 10:27 o'clock
11 a.m.)

12

13

14

15

16

17

18

19

20

21

22

23

24


25

REPORTER' S CERTIFICATE

I DO HEREBY CERTIFY THAT THE TESTIMONY IN THE FOREGOING HEARING WAS TAKEN AT THE TIME AND PLACE THEREIN STATED; THAT THE TESTIMONY OF SAID WITNESSES WERE REPORTED BY ME, A CERTIFIED ELECTRONIC COURT REPORTER AND A DISINTERESTED PERSON, AND WAS UNDER MY SUPERVISION THEREAFTER TRANSCRIBED INTO TYPEWRITING.

AND I FURTHER CERTIFY THAT I AM NOT OF COUNSEL OR ATTORNEY FOR EITHER OR ANY OF THE PARTIES TO SAID HEARING NOR IN ANY WAY INTERESTED IN THE OUTCOME OF THE CAUSE NAMED IN SAID CAPTION.

IN WITNESS WHEREOF, I HAVE HEREUNTO SET MY HAND THIS 30TH DAY OF OCTOBER, 2020.




SUSAN PALMER
CERTIFIED REPORTER
CERT 00124

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 30th day of OCTOBER, 2020.



Susan Palmer
Certified Reporter
CERT 00124